

1 UNITED STATES DEPARTMENT OF ENERGY

2

3

4

5

6 IN RE:

7

8 YUCCA MOUNTAIN SITE PROJECT RESPONSE

9 TO QUESTIONS OF THE NUCLEAR WASTE

10 TECHNICAL REVIEW BOARD

11

12

13

14

15 REPORTER'S TRANSCRIPT

16 OF

17 PROCEEDINGS

18 Taken on Wednesday, April 12, 1989

19 At eight o'clock a.m.

20 101 Convention Center Drive, Ste. 450

21 Las Vegas, Nevada

22

23

24

25 Reported by: Anna Maria Ciarrocchi, CSR #188

264

1 APPEARANCES:

2 For the Technical DON DEERE

3 Review Board: EDWARD CORDING

4 CLARENCE ALLEN

5 WARNER NORTH

6 For the United States MAX BLANCHARD

7 Department of Energy: L.J. OWENS

8		JOHN ROBSON
9		DON SCHLICK
10		CARL GERTZ
11		JAMES CARLSON
12		ARCH GIRDLEY
13	For SAIC (Science	KEN BEALL
14	Applications	MIKE GLORA
15	International Corp.):	MICHAEL VOEGELE
16		MARYLOU BROWN
17		ERNEST HARDIN
18	For the United States	LARRY HAYES
19	Geological Survey:	BILL WILSON
20		MARK McKEOWN
21	For Los Alamos	TOM MERSON
22	Laboratories:	
23	For the Office of	RALPH STEIN
24	Civilian Radioactive	TOM ISAACS
25	Waste Management:	JEROME SALTZMAN

1 For Fenix & Scisson: JAMES GREZIA
2 For Sandia National
3 Laboratories: JOE TILLERSON
4 For the Nuclear MYSORE NATARAJA
5 Regulatory Commission: JOHN LINEHAN
6 PAUL PRESTHOLT

7 I N D E X

	Page
8 Regulatory Considerations	
9 Related to Perimeter Drifting	
10 (By Mr. Blanchard)	268
11	
12 Scientific and Testing	
13 Considerations	
14 (By Mr. Voegele)	286
15	
16 Engineering Considerations	

17 (By Mr. Tillerson) 336

18

19 Conclusions

20 (By Mr. Blanchard) 395

21

22

23

24

25

266

1 MR. BLANCHARD: We will begin now. We
2 had some people come in today that weren't here
3 yesterday. I see John Linehan and Paul Prestholt. I
4 see a face that I'm not familiar with. So I think,
5 because yesterday everyone introduced themselves, I
6 think John, why don't you start and tell the board

7 and people here who you are and what role you have?

8 MR. LINEHAN: John Linehan, project
9 director for licensing pending division on high level
10 waste management.

11 MR. BLANCHARD: Paul?

12 MR. PRESTHOLT: Paul Prestholt, here in
13 Las Vegas for the NRC.

14 MR. BLANCHARD: Thank you. Sir, I
15 had --

16 MR. ROMMEL: Bob Rommel with REECo
17 Construction Department.

18 MR. BLANCHARD: And Ernie?

19 MR. HARDIN: Ernie Hardin. I'm a
20 geophysicist here at SAIC, and I'm here to help Mike
21 Voegele out with his presentation.

22 MR. CLANTON: Uel Clanton, chief site
23 investigations branch for the D.O.E.

24 MR. BLANCHARD: Okay. This morning we
25 had on the agenda Session 2, which was our

1 considerations for repository drifting -- perimeter
2 drift, that is, as part of the site characterization.

3 In a similar fashion, we have a format
4 from yesterday. Examine what the regulatory
5 constraints seem to be, based on our understanding
6 during the time we were preparing the SCP. This
7 evolved from 1985 through the end of 1988. And right
8 or wrong, those are -- I'll be talking about what we
9 thought the constraints were at the time.

10 Then Mike Voegele will be talking about
11 the scientific needs to satisfy the regulatory
12 constraints and type of test program we've set up.
13 Joe Tillerson will explain the engineering
14 considerations that are needed to satisfy these two.

15 And then we have adjournment set for

16 something on the order of 12:30. We're very flexible,
17 we don't need to do it by then. The question really
18 is what your travel arrangements are. If you think
19 you want to change them, we can assist if you want us
20 to. So if you need someone to make some telephone
21 calls for alternate flight times, Don, we'd be
22 perfectly happy to help.

23 MR. DEERE: I think the three gentlemen
24 are set to leave on flights at about 1:30, 1:45,
25 something like that.

268

1 MR. BLANCHARD: So that's probably a
2 very reasonable time in order to get to the airport.

3 MR. DEERE: Yes. Then I intend to stay
4 on the rest of the day and be available to check out
5 a couple documents or whatever that I might want.

6 MR. BLANCHARD: I guess I'd also like
7 to ask Tom and Carl if either of you have any opening
8 comments this morning?

9 MR. ISAACS: No.

10 MR. GERTZ: Nothing.

11 MR. BLANCHARD: Okay. With that as the
12 beginning, then I would like to start with the
13 regulatory considerations, and my introduction begins
14 with this. It's a summary really.

15 The extent of underground excavations
16 must limit the impacts to the site, as you saw
17 yesterday. It must support, in conjunction with our
18 surface-based test program, the gathering of
19 representative data. And I'll go into that in quite
20 a bit more detail, and in particular, that's the main
21 focus of Mike Voegele's talk. It must also maintain
22 flexibility to integrate with respect to the
23 repository design. And that's the main focus of Joe
24 Tillerson's talk.

1 legislative, that is the Nuclear Waste Policy Act, as
2 well as 10 CFR 60 constraints and guidance. These
3 became drivers for the scientific needs for the
4 engineering effort that we outlined in 8.4 of the SCP.
5 The regulatory constraints are derived from the Act,
6 10 CFR 60 and the NRC comments.

7 In section 113(c), there is a
8 restriction. As we mentioned yesterday, one can read
9 other words and emphasize other words, but the words
10 we happened to emphasize over the last three years
11 are: The secretary may conduct only such activities
12 required to evaluate the suitability. That's where
13 we've been focusing in terms of a conservative
14 program. Conservative with respect to not allowing

15 the department to issue what looked like a de facto
16 repository construction effort.

17 In section 112(b), we required an
18 environmental -- we prepared an environmental
19 assessment and issued a draft in 1984 and final
20 version in '85. As you know, it was the basis for
21 which the Department screened from nine to five to
22 three. Each of those included a scope of the
23 magnitude of site characterization. And now, from a
24 legal standpoint I think the Department's attorney's
25 view is that that was an obligation in the law. We

270

1 met it, and it's passed.

2 However, our perception is that a
3 number of agencies and a number of other people will
4 be looking at significant departures should we choose

5 to do so. And that the Department will need a
6 justification for expanding the scope significantly,
7 if we do.

8 MR. DEERE: Wasn't that at the time
9 when there were still five sites --

10 MR. BLANCHARD: Yes. We got the three
11 sites, and then the policy act amendment of course
12 focused on one.

13 MR. DEERE: Right, when this was really
14 drawn up, it was drawn up with a somewhat different
15 purpose: To allow you to make comparisons?

16 MR. BLANCHARD: Yes. In that process
17 we were following 10 CFR 960. And all of the
18 positions have not yet been developed with respect to
19 whether 960 still applies and the extent to which it
20 applies. It has qualifying and disqualifying
21 conditions in it, so my perception is at least the
22 intent of it probably still applies, although I'm not
23 an attorney. And that if we encountered something

24 during site characterization that showed the site
25 contained disqualifying conditions, that the

271

1 Department would disqualify the site because it
2 didn't meet its own requirements.

3 MR. ISAACS: Let me --

4 MR. BLANCHARD: I may be overstepping
5 my bounds, Tom.

6 MR. ISAACS: Let me just embellish this
7 a bit. The citing guidelines draw up a plan for what
8 factors are to be looked at at all stages of
9 screening, all the way from a national screening
10 effort, such as we started to undertake in the second
11 repository, or at least let's say a larger screening
12 effort regionally, all the way through the process of
13 identifying areas of high likelihood of good sites,

14 screening from areas down to specific regions, down
15 to specific sites ultimately.

16 And with each of those there are
17 elaborated in 10 CFR 960 a number of factors that are
18 the minimum required to qualify a site at any point
19 in the screening process, those factors which would
20 disqualify a site, and the tests by which one
21 evaluates those factors.

22 And then once a site has gone through
23 that screening process, also factors that tend to
24 tell you whether the site is more or less desirable.
25 It may be qualified -- or if it's disqualified it's

272

1 obviously out. It may be qualified, but then there
2 are to compare sites. Saying the more of this, the
3 better the site. The more of this, the worse the

4 site.

5 The criteria in passing through the
6 gate as you go through the process is more severe,
7 the tests that one must find for suitability of a
8 site become more severe. Obviously the more you know
9 about a site, and the more you hone in on a site the
10 more you ought to feel confident that's a good site.

11 So the tests that are in 10 CFR 60
12 become tougher with time. But the process we go
13 through is not in any sense invalidated because we
14 are down to one site. 10 CFR 960 still applied as we
15 go farther into site characterization, the
16 conclusions we must find with regard to important
17 factors will become more and more rigorous.

18 MR. BLANCHARD: Until we get
19 instructions otherwise, we assume we're going to
20 demonstrate if the site meets the qualifying
21 conditions of 10 CFR 960.

22 MR. NORTH: Is the word "significant"

23 in your second bullet defined anywhere?

24 MR. BLANCHARD: No. I think it's in
25 the gray area. It's up to the people to make the

273

1 case.

2 MR. VOEGELE: Max, I only wanted to
3 emphasize that the point we were trying to make on
4 this view graph was different from the concept of the
5 screening process that's embodied in the 10 CFR 960
6 process. We are undertaking a relatively large
7 program that has the potential to disturb the site at
8 the Test Site. And such an activity requires an
9 environmental assessment.

10 The point we were trying to make with
11 this figure was that we believe that there would have
12 to be significant -- or have to be discussions with

13 appropriate parties before we could significantly
14 change the scope of the characteristics of that
15 program, relative to the impacts it would make.

16 MR. BLANCHARD: With respect to 10 CFR
17 60 complaints, 60.2 -- you looked at that one
18 yesterday. Ralph brought it up, I brought it up --
19 defines site characterization undertaken to establish
20 the geologic conditions and the ranges of parameters.

21 Now, we've keyed on this underlined
22 statement, "the conditions and the ranges of
23 parameters." We keyed on it because we think that
24 establishing accurate parameter ranges requires
25 representative data of the site of that

274

1 three-dimensional block. And we believe that plans
2 to acquire representative data include two things, at

3 least: One is examining features of particular
4 interest. That is, anomalies. But we don't want a
5 program that only examines anomalies.

6 Like Bill Wilson yesterday was talking
7 about the Ghost Dance Fault. We have surface-based
8 plans to do holes on each site, drill holes and tests,
9 pump tests across that fault. We also have an
10 underground program to drift to that fault. But we
11 don't want to stop there because the characteristics
12 of the rock around the fault are not the
13 characteristics we want to project statistically
14 across the whole block for the entire block.

15 So we must have something else, which
16 is systematically acquired site data in a
17 geostatistically meaningful way. Mike Voegele will
18 discuss what these two constitute, and how we're
19 pulling them into the program in much greater detail.

20 Still in 60.2. This requires a
21 balanced approach for acquiring data, especially

22 about the hydrology of the site. We must emphasize
23 the rocks above, the repository horizon, rocks at the
24 repository horizon and the rocks below. Because
25 we're drifting into Topopah Spring because that's an

275

1 extensive test program down there, it's obvious that
2 we want information, high quality information about
3 that.

4 Once we have reached a conclusion, if
5 we can from that test program the way it is outlined,
6 about the suitability of the Topopah Springs and
7 selecting the appropriate horizon within the Topopah
8 Springs and feel comfortable that we can construct,
9 then two other things become, I think, more important.

10 One is the rock units above that limit
11 the in flow of water to the repository horizon. How

12 much water from the precipitation event, how much
13 runs off, how much infiltrates. Then where does it
14 go when it infiltrates? Does it get trapped in the
15 bedded tuff? If it gets trapped in the bedded tuff,
16 does the bedded tuff act as an umbrella? Channel it
17 away? It's the mechanism by which it gets into the
18 next rock unit down, Topopah Spring. How much? So
19 the rocks above limit the in flow.

20 And then, even in an equally important
21 way -- perhaps more important -- the Calico Hills.
22 The rock unit underneath Topopah Springs. We know it
23 contains zeolites, but that's our natural barrier.
24 So we need to know the flow path, travel time and the
25 type of minerals -- the zeolites and clays that can

1 absorb radionuclides.

2 Another feature required by 60.2 in the
3 concept of representativeness, our program requires
4 flexible approach so that if we encounter a feature
5 that is somewhat different than what our assumptions
6 were, or feature that we hadn't recognized to start
7 with, we need to expand underground excavation. The
8 question is how large of an expansion? And what's
9 our engineering capacity to accommodate that expanded
10 excavation?

11 60.3, licenses required. This is part
12 of the background why we developed the posture about
13 expanding things. D.O.E. shall not commence
14 construction of repository operations. And that
15 seems to suggest that there ought to be a limit on
16 the extent of excavation for characterization. And
17 that there ought to be a balance between that and the
18 limitation of actual expanding of site
19 characterization effort, so that at the completion of
20 that, we're ready to start placing waste.

21

22 In 60.15, requirements to limit adverse
23 effects on long-term performance places practical
24 constraints on some things with respect to the
25 underground excavation. Subsurface excavation shall

277

1 be coordinated with the repository operations area.
2 We discussed that yesterday, and as I mentioned, the
3 thrust of Joe's talk is in this area.

4 And to the extent practical, boreholes
5 and shafts will be located where things are planned
6 for underground facilities. And we talked about that
7 a little bit yesterday, and I believe that Mike
8 Voegele will show you some plans, some layouts that
9 show that.

10 To accomodate this, our strategy that

11 we've outlined, Chapter 8 Section 8.4, discusss the
12 exploratory shaft. But also in Section 3 that
13 describes the 106 study plans, is to locate the
14 boreholes wherever pillars are expected in the
15 underground facility. This meant that our
16 exploration program had to work with those people who
17 were coming up with a preliminary conceptual design.
18 The conceptual design of the repository, the peculiar
19 angle and the way it's laid out, already has built
20 into it a strategy for where we've located our
21 boreholes so that they would be in pillars, two drift
22 diameters away from the outside boundary.

23 Also exploratory drifts, we'd like to
24 use whatever exploratory drifts in the repository.
25 So the drifts that we've laid out for Ghost Dance,

1 underneath the Coyote Wash, Drill Hole Wash, right
2 now could become mains or other drift access areas in
3 the repository layout. And then the other thing for
4 meeting that is to do things like we've discussed
5 with you yesterday: Make the shafts -- if we
6 incorporate them into the repository -- either men
7 and material or ventilation shafts.

8 Now, where we're at now in terms of our
9 own perception, is that we think we need more
10 characterization information before we can explicitly
11 define vertical and lateral extent of repository
12 bound.

13 The content of the license application
14 brings another paragraph into play that might be a
15 constraint. It calls for a comparative evaluation of
16 major design features that could be important to
17 waste isolation, and attention should be paid in
18 these comparative evaluations to alternatives. And
19 we're not preparing the license application yet, but

20 we're laying plans to. We've filled a whole lot of
21 documents that we think are building blocks or
22 building stones to the license application.

23 We also have an annotated outline for
24 the SAR, and a fair number of people working on
25 getting ready to prepare those reports. We'd like

279

1 not to expand this comparative evaluation larger than
2 we need to have, and so we had a conservative
3 approach to that. We'd like to just make the
4 repository layout the thing. And if we have a
5 perimeter drift, it may require that that's part of
6 the comparative evaluation and alternatives; just
7 some work that we'll have to do in the future that we
8 have to be aware of.

9 Other things that became constraints I

10 think with the NRC comments -- what I'm going to do
11 here is just summarize some of the comments.
12 Comments that were made on the consultation draft.

13 Objection No. 3: Observed that the
14 Department in the consultation draft didn't provide
15 enough information to support the analysis of
16 potential interferences. They were right.

17 Section 8.4 was relatively short, and
18 during the time they put the consultation draft out
19 and the statutory draft, we had a large team of
20 people revising 8.42 and 8.43, expanding the
21 description of evaluation: Test-to-test interference,
22 and interference for construction operations with
23 testing. 8.4 now is very extensive in that area,
24 however, it still may not be enough.

25 There are bounding calculations,

1 qualitative and quantitative evaluations, and they're
2 about the impact on our ability to characterize the
3 site, as well as the impact -- potential impact of
4 waste isolation. We are looking forward to hearing
5 from the NRC with respect to whether they think we've
6 done enough calculations, and we look forward to
7 hearing from you the same thing.

8 Expanded excavation would need to be
9 considered relative to the potential interference
10 with the tests. And I think that's kind of an
11 obvious thing.

12 In concluding the regulatory
13 constraints, then, our view up to now has been that
14 site characterization appears to us to be a
15 comprehensive program that includes surface and
16 subsurface exploration. It gathers representative
17 information so we can develop a three-dimensional
18 model and understand the natural processes that would

19 change that model.

20 And the program, as we have outlined it
21 in Chapter 8 of the SCP, addresses the need to obtain
22 the hydrogeologic data from Topopah Springs and from
23 the overlying and underlying rock units. We think it
24 limits the potential adverse impacts on the site. We
25 think it limits interferences. We think it

281

1 recognizes the need to integrate the exploratory
2 activities, especially the underground activities
3 with GROA design, basically the design of the
4 repository. And it retains the flexibility to expand
5 excavations if appropriate.

6 With that as an introduction, I'd like
7 to entertain any questions you have. If you don't,
8 then I think I'd like to ask Mike Voegele --

9 MR. NORTH: I've got a question. You
10 mentioned Objection No. 3 from the NRC comments. I
11 found their Comment No. 100 very interesting on this
12 point. Now, before discussing that, is there
13 anything in terms of the plan for drifting from the
14 comment draft to the final -- to the present Site
15 Characterization Plan? Or is it basically the same
16 plan?

17 MR. BLANCHARD: No. I think we've made
18 a number of adjustments --

19 MR. GERTZ: In the drifting area,
20 though, Max?

21 MR. NORTH: In the drifting area? Or
22 just more explanation for what you plan to do?

23 MR. BLANCHARD: I think we've provided
24 more information about what we plan to do when we
25 drift it and the kind of tests we were going to

1 conduct at the locations. We've also assured
2 ourselves that the design will allow us to drift in
3 the fault structure to the south if we think we're
4 going to use it for an expansion area.

5 And we also have, from an engineering
6 standpoint, a design which can accommodate going down
7 into the Calico Hills and drifting there, should the
8 decision be made that we do that. We've not done
9 that. We are currently preparing a risk benefit
10 analysis to examine other ways to -- alternative ways
11 to get information on Calico Hills.

12 MR. NORTH: I don't read this comment
13 as addressing the question of going deeper into
14 Calico Hills. I interpret it as going more into the
15 southern portion of the repository area, and getting
16 more general information along the lines that have
17 been concerns to us on the board. Let me take the

18 time to read comment 100, and read a couple of points
19 with regard to the D.O.E.'s response from this
20 material that we had last night.

21 MR. BLANCHARD: Sure.

22 MR. NORTH: Comment 100 from the NRC
23 says the following: The extent of site exploration
24 described in the comment draft indicates the D.O.E.
25 Plans to explore only a small portion of the

283

1 underground repository block through underground
2 testing and drifting. Substantially more drifting
3 may be necessary to reduce uncertainties about the
4 presence of faults and other geologic and hydrologic
5 conditions.

6 In the comment draft, no exploratory
7 drift is planned to cross the main waste storage area

8 to the southern portions of the block, which, based
9 upon existing information, appears to contain more
10 faults and fractures than other parts of the block.

11 Borehole penetrations into the main
12 waste storage area (boreholes from the surface,
13 horizontal core drilling or other means) says may not
14 provide the representative information needed to
15 construct a reliable three-directional geologic model
16 of the repository block, and to evaluate ranges of
17 parameters that could affect repository performance.

18 Now, that's the end of the discussion
19 of comment 100, and of course, on page 141 and 143 of
20 this -- no, I'm sorry. Page 141, there is further
21 discussion about the basis and the recommendation; I
22 guess it's worth reading that as well:

23 The SCP should show that the proposed
24 underground exploration and testing, together with
25 surface-based site characterization, would

1 sufficiently establish the geologic conditions and
2 the ranges of important geomechanical, hydrologic and
3 other needed parameters across the entire repository
4 block. Alternatively, additional drifting to yield a
5 more complete and representative characterization of
6 the repository block should be proposed.

7 Now, their comments. And D.O.E.
8 responds, which perhaps you can elaborate on, I'll
9 just read a couple of sentences from this: The
10 D.O.E. believes that sampling and testing associated
11 with the proposed underground drifting, the
12 systematic drilling program and the site vertical
13 borehole study will provide the data necessary to
14 reduce uncertainties about the presence of faults and
15 other geologic and hydrologic conditions. I'd be
16 interested in the basis for this conclusion.

17 Then reading from the bottom of page C-130
18 in your response: Substantial drifting through the
19 waste emplacement areas, including the southern
20 portion of Yucca Mountain, will occur during the
21 early construction activities, and will provide
22 additional information to increase confidence about
23 rock property values and to provide information about
24 representatives.

25 Now, I interpret this to mean that you

285

1 don't want to do it as part of the process up through
2 the license application, but rather after that, in
3 the early stages of construction. Which means this
4 information wouldn't be available at the time of the
5 license application, and you know, some uncertainties
6 that we might have resolved at that point won't be

7 resolved until later, where they perhaps would affect
8 not only the performance of the repository, but also
9 the potential size of the repository.

10 MR. BLANCHARD: Your point is well
11 taken. I think you've interpreted our response
12 correctly. The question is the extent of drifting.
13 Our repository design strategy is not to put the
14 repository in the imbricate fault structure, so we're
15 going to avoid those. Joe Tillerson's talk will show
16 you that we are staying away from that area, so that
17 we wouldn't have to go into an extensive drifting and
18 testing program in those areas which we think, right
19 at the beginning, that prevents problems.

20 And we do have repository expansion
21 areas. Joe will talk about two areas which we think
22 will be in rock that we already perceive is good
23 enough to expand the repository in. But we don't
24 have the data to support it, so we can't defend our
25 position. So that's the reason why we're not

1 actively expanding drifting into the southern portion,
2 or where the imbricate fault structures are.

3 However, we do need to retain the
4 flexibility to drift; the question is how much?
5 Another 5,000 feet of drifting could probably be
6 accommodated. But a sixfold increase couldn't be
7 accommodated with the current engineering design.
8 It's flat out not possible.

9 MR. NORTH: What about with total
10 boring machines?

11 MR. BLANCHARD: I can't answer that
12 question. Our engineering staff, I think, should
13 answer that question. And I believe that in comment
14 100, our discussion for today focuses, and I hope the
15 first part of that response given by -- is Mike

16 Voegele's theme for his presentation. So I hope,
17 Warner, that we have good dialogue here. Okay? All
18 right.

19 Mike, are you ready?

20 MR. VOEGELE: Yes. I believe the
21 copies of the view graphs have been distributed, at
22 least at the main table. I'd like to start. As Max
23 said, my name is Mike Voegele and I'm going to talk
24 about the scientific and testing considerations
25 related to discussion of the utility of a perimeter

287

1 drift during the site characterization phase of the
2 program.

3 By way of background, I'd like to point
4 out that the discussion that we've prepared is an
5 attempt to describe the rationale for the site

6 characterization program, and the presentation has
7 been laid out in a way to try to facilitate
8 discussion with the board about how you would
9 incorporate a perimeter drift into the site
10 characterization phases of the program.

11 What I've written here is that we're
12 going to try to examine the role of a perimeter drift
13 in the site characterization program, in light of the
14 total contribution that it can make to the
15 characterization program. I recognize that that may
16 be a little bit constraining relative to the possible
17 interpretations of the question that was asked by the
18 board, and I'd like to assure you that the
19 presentation is more flexible than that.

20 In other words, we would consider,
21 during the various stages of either my discussion or
22 the discussion that follows, incorporating perimeter
23 drifting at later stages, such as after we have
24 obtained certain information from the site

25 characterization program.

288

1 So there will be discussions, although
2 my discussion tends to be focused on incorporating it
3 at the start of site characterization. The intent of
4 the discussion is not to limit that, but rather to
5 investigate incorporating it during other stages of
6 the site characterization program, i.e. prior to the
7 license application.

8 The outline of this presentation is
9 relatively simple. Try to describe the surface-based
10 characterization program that we developed to acquire
11 the information that we needed from the site
12 characterization program, and to describe the ESF-
13 based component of that characterization program.
14 It's my understanding that there's been a

15 presentation to the board that discussed the
16 performance allocation activities that we undertook
17 in the site characterization planning phases.

18 And so basically when I say "information
19 needed from site characterization", what I'm
20 referring to is the process where we laid out
21 strategies to answer the licensing questions that we
22 derived from the regulations, and from those
23 strategies derive the type of information that we
24 felt needed to answer those questions. And in both
25 of these talks, I'm going to try to indicate the role

289

1 that these elements of the program have in a
2 representative characterization program.

3 Thought it was appropriate by way of
4 something that's probably considered background is

5 information, to elaborate just a little bit on the
6 concept of a primary exploration area. This program
7 has focused its characterization and proposed
8 repository development in what's known as a primary
9 area. And in a moment I'll show you a couple of
10 structure maps and show you what that physically is.

11 In the beginning stage of this program,
12 going back to the early eighties, as the
13 characterization programs were being developed prior
14 to passage of the Nuclear Waste Policy Act, there was
15 in fact a conscious effort on the part of the
16 principal investigators to look at an area in the
17 Yucca Mountain vicinity that had relatively few
18 faults, as described as having rare fault breccias.
19 That area contained about 2200 acres, and 1,850 of
20 those acres meet today what we'd consider criteria
21 for acceptable rock properties.

22 Current estimate, just for information
23 of the area needed for a repository at an aerial

24 power density of 57 kilowatts per acre is about 1420
25 acres. As I've indicated, early definition of that

290

1 principal area was based primarily upon some bounding
2 structures that I'll show you on the next view graph.
3 I'd like to point out at this time that other data
4 that we have today that's virtually of the same
5 quality of the data used to find this structure,
6 suggests that rock with acceptable characteristics
7 exists outside those structures, indicating that we
8 do need more information before we can ascertain
9 definition of the area with a relatively conservative
10 position, assuming they were bounding structures.

11 This is an aerial photo of the Yucca
12 Mountain area, and you can see on Bill Wilson's
13 discussion yesterday, the Solitario Canyon fault runs

14 along here. Another feature that will show up on the
15 following view graph is Drill Hole Wash structure.
16 So basically the early exploration was focused in
17 this area. You can see on the next view graph
18 something called an abandoned wash feature, and you
19 can actually pick up that feature on this map, as
20 well.

21 MR. ALLEN: Where are the exploratory
22 shafts?

23 MR. VOEGELE: They're right up in here;
24 in a moment. So I'm going to show you an early
25 version, when Bill was talking yesterday he noted the

291

1 structure -- the maps he was using and the cross
2 sections were from -- I'm going to have to do this
3 in --

4 MR. NORTH: Turn it 90 degrees.

5 MR. VOEGELE: This is north. Okay.

6 MR. NORTH: I see.

7 MR. VOEGELE: This is an early phase of
8 the map that eventually became the map represented by
9 Scott and Bonk that Bill Wilson was referencing
10 yesterday. I'll do it in two phases because the
11 picture is a little bigger than the view graph.

12 Notice the Solitario Canyon Fault and
13 the Drill Hole Wash faults. You can see the Ghost
14 Dance Fault that Bill was talking about yesterday,
15 the exploratory shaft locations are up in here. As
16 you get to the southern part of that region I
17 outlined on the previous picture, you can actually
18 see that abandoned wash features that we were seeing
19 in the aerial photo.

20 Now, the geologist laying out the early
21 characterization program had a fair bit of
22 information from mapping, and in fact moved to

23 concentrate their exploration efforts inside of a
24 block that was bounded by these structures that we
25 can see here. The Drill Hole Wash fault, Solitario

292

1 Canyon, actually tried to stay away from the
2 abandoned fault some structures and what's called the
3 imbricate fault structures to the east of that area.

4 I'll be coming back to this map several
5 times during the presentation, and I believe Joe has
6 similar things to show you, concerning how the
7 repository fits inside this area.

8 MR. CORDING: Briefly, could you just
9 show approximately where the perimeter drift is
10 located on that?

11 MR. VOEGELE: It basically falls in
12 this area. Let me just do the best job I can drawing

13 it. Generally that's how.

14 MR. DEERE: Round those corners a
15 little so the TBN can get at it.

16 MR. VOEGELE: Joe is actually willing
17 to discuss that.

18 MR. CORDING: So your potential site
19 can actually go outside those boundaries of that
20 perimeter drift; is that correct?

21 MR. VOEGELE: I did not intend to draw
22 them outside the boundaries. In fact, it's a
23 discussion one of which Joe has a view graph coming
24 up in his presentation to show two potential areas
25 that we consider to be pretty reasonable for

293

1 expansion, and they go in this direction and down in
2 higher.

3 MR. ALLEN: Do we have in the room an
4 actual large scale geologic map here that we could
5 look at? At the break or something? Instead of just
6 sketch maps?

7 MR. VOEGELE: We can have one.

8 MR. BLANCHARD: We can bring Scott and
9 Bonk over. Does it have the repository perimeter on
10 it? I don't think it does.

11 MR. ALLEN: At least the perimeter.

12 MR. BLANCHARD: Ernie, would you have
13 someone bring copies of it?

14 MR. CORDING: Perhaps even a couple of
15 maps. That will show the repository and one that
16 shows geology.

17 MR. BLANCHARD: We'll do it.

18 MR. STEIN: Mike, can you say a word or
19 two about the precision with which we note a
20 perimeter?

21 MR. VOEGELE: Yes. In fact, that's

22 coming in like two or three view graphs, but thank
23 you, Ralph. It sort of ties in nicely to what I want
24 to say with the next figure.

25 There were indications yesterday, in

294

1 Joe Tillerson -- or Bill Wilson's talk, that there
2 might be stratigraphic concerns as well, in addition
3 to the structural concerns that might limit where you
4 might place your repository within this area. I've
5 tried to highlight the things that I referred to as
6 criteria. I said several almost 2,000 acres meet
7 these criteria.

8 If you look at our current
9 understanding of the stratigraphy of the site, based
10 upon some exploratory drilling that has taken place
11 in the past, which I will show you in a couple of

12 view graphs, Sandia has developed some maps that
13 would suggest that if it remains a criterion for
14 repository layout to not put the repository in the
15 high lithophysal content of the rock -- the rock
16 having the gas bubbles, higher porosity -- that this
17 could become a constraint on the repository layout to
18 this direction. That would impact primarily the top
19 of the repository because they're higher up in this
20 section.

21 There's also a concern or current
22 criterion that would suggest we would not want to put
23 the repository in the section of the Topopah Springs
24 that has the vitrophyre. The yellow here is in fact
25 where the current assessment of where that vitrophyre

1 would intersect.

2 MR. DEERE: It's not very thick, is it,
3 that vitrophyre?

4 MR. VOEGELE: No. About six inches?
5 Is it more? I'm in the "Grouse" Canyon, I'm sorry.

6 Bill, do you have a number for how
7 thick?

8 MR. WILSON: Three to 15 feet.

9 MR. VOEGELE: Three to 15 feet. I'm
10 sorry; I was in the wrong unit. I've also shown on
11 this figure the overburden constraint, 10 CFR 60.
12 And so, you would also then try, based on our current
13 understanding which, as Ralph has indicated is based
14 on a relatively limited amount of data, consider this
15 white area on this figure as being the best rock we
16 have we can currently assess for placing the
17 repository.

18 MR. ALLEN: What are the straight
19 dashed-dotted lines?

20 MR. VOEGELE: I'm sorry. This is the

21 western boundary of the Nevada Test Site. Probably
22 the first map that we've shown you that indicates
23 that in fact Yucca Mountain is not physically on the
24 Test Site; it's just to the west of the Test Site.
25 These are boundaries between the Air Force bombing

296

1 range and U.S. -- excuse me. Bureau of Reclamation
2 controlled land.

3 MR. ALLEN: BLM?

4 MR. VOEGELE: Yes. BLM.

5 Now, the characterization program
6 itself I've divided into two components for the
7 purposes of this discussion. The surface-based
8 component and the underground component.
9 Surface-based component of the characterization
10 program focuses on borehole coverage of the site and

11 surrounding region, and it encompasses a systematic
12 drilling program through which we intend to look at
13 characteristics of various phenomena that describe
14 that particular region, and trends and variability in
15 those characteristics. It also includes a feature
16 sampling program where we're intentionally
17 investigating features that have been defined through
18 things like aeromagnetic or other geophysical surveys;
19 anomalies.

20 There are other activities in the
21 surface-based program, things like mapping
22 geophysical surveys, trenching, meteorology, et cetera.
23 The underground portion of the program conducted is
24 divided into three elements, and basically there's a
25 systematic mapping and sampling program.

1 There are specific tests to
2 characterize processes and conditions, and the
3 advantage you have in the subsurface is you have a
4 little more flexibility in actually simulating
5 processes, and there's exploratory drifting in the
6 underground program. So I'll spend a few view graphs
7 on both of these components of the program.

8 We have tried to design the program so
9 that the surface and subsurface components of the
10 program are complimentary, and the goal is to provide
11 a complete three-dimensional description of the site.
12 The surface-based is designed to examine spatial
13 trends, variability and characteristics of phenomena
14 in three dimensions.

15 The ESF program includes things like
16 controlled simulations and exploratory drifting to
17 investigate effects of underground construction in
18 features that may not be completely typical of the
19 entire rock mass. And we'd like to look at

20 confirming construction techniques in the host rock,
21 which is the Topopah Springs formation.

22 With regard to the question of
23 representativeness, I tried to approach the question
24 of representativeness through an approach that tried
25 to integrate the data that we obtained from the

298

1 surface-based program and the subsurface-based
2 program. The integration focuses on geostatistical
3 evaluations of spatial trends and variabilities, and
4 would use that information that we obtained from
5 those evaluations as input to evaluate conceptual
6 models.

7 The evaluation of those conceptual
8 models could indicate several things to us, one of
9 which would be the conceptual model is not correct or

10 the correction data is not yet adequate. We'd try to
11 use that evaluation between the conceptual model and
12 our evaluation of spatial trends and variability to
13 look at the adequacy of the characterization program,
14 and try to refocus it, if necessary, to get better
15 data, or to develop a new conceptual model which in
16 fact more correctly fits the data we had obtained.

17 I'd like to say that generally, the ESF
18 test location criteria are predicated on a need to
19 extrapolate those test results to the overall site
20 area. The reason I've said generally is because
21 we've noted in fact there are specific ESF tests to
22 look at primarily things that we don't expect to be
23 extrapolated all over the site area, like drifting
24 over the structures which are known to exist.

25 Surface-based drilling program involves

1 numerous boreholes to the water table in or adjacent
2 to the repository block. It also has geologic
3 investigation holes, and I've said including slanted
4 holes and feature sampling holes. I want to very
5 carefully caveat that slanted holes. We are
6 currently undertaking a prototype drilling experiment
7 to investigate how well we can drill a slanted hole
8 dry, and that hole is being drilled in Solitario
9 Canyon. Depending on the success of that program
10 we'd make decisions upon whether or not we could do
11 slanted drilling on the surface, or whether in fact
12 we had to reevaluate the need for looking at it more
13 extensively from the subsurface.

14 The program will obtain for us borehole
15 and core samples, that will allow us to characterize
16 things like the stratigraphy, matrix potential
17 distribution, moisture movement along contacts and
18 faults and some of the gaseous phase processes. We

19 will be able to provide samples of geochemical and
20 hydrochemical phenomena.

21 This is a map, and if I were to try to
22 sketch onto it that figure we were looking at before,
23 it would probably look more like that. This is a map
24 of the drilling program, and basically there are
25 copies of this map in Section 8.4.2 of the SCP. And

300

1 we will obtain for you a larger scaled version that I
2 tried to do it this morning and was unsuccessful.
3 One way or another we'll get you a larger scale copy.

4 It shows all of our shallow borings,
5 the dry holes that had been drilled in the
6 unsaturated zone, core holes, some of the water table
7 boreholes and pavement studies. That's where they've
8 actually gone out and removed the alluvium from the

9 rock surface and looked in detail at the fractures
10 that existed at the rock surface.

11 I'd like to highlight on this map the
12 core holes, and those are the holes that would
13 provide the samples that would give us the primary
14 information that allowed us to make the assessments
15 that I showed you a couple of view graphs previously
16 of the currently known extent of the vitrophyre or
17 the high lithophysae zone.

18 The point we'd like to make is they are
19 relatively concentrated in this portion of the block
20 and there are relatively few of them to be drawing
21 very substantial conclusions about what that rock is
22 really like in the repository. There's actually
23 another one down here just off the figure, but
24 they're relatively few.

25 MR. DEERE: And fairly close to that

1 drill hole wash structure?

2 MR. VOEGELE: Yes, sir. Bill -- Scott?

3 MR. SINNOCK: Many of those are
4 actually shallow X's in Drill Hole Wash, that's the
5 northwest trending line are actually shallow holes.
6 Holes that penetrate Topopah, and I think there are
7 five of them. Probably got G-4, A-1, B-1, G-1. H-1.
8 H-1 is probably not on there.

9 MR. VOEGELE: That one I think is
10 farther over here.

11 MR. ALLEN: What's the rationale
12 putting all these along that one fault zone?

13 MR. VOEGELE: Bill, do you care to
14 answer that?

15 MR. WILSON: Let me make sure I
16 understand. Those are the existing boreholes?

17 MR. VOEGELE: These are the existing

18 boreholes.

19 MR. WILSON: They were drilled
20 initially partly because of access availability,
21 partly to test the Drill Hole Wash structure, and to
22 define the boundary. There were a variety of reasons
23 for the initial drilling program. Of course the plan
24 drilling program will extend beyond --

25 MR. VOEGELE: That's correct.

302

1 MR. HARDIN: I think on close
2 inspection you'll see from the map that there are a
3 number of boreholes distributed on all sides of the
4 perimeter.

5 MR. VOEGELE: That is in the proposed --

6 MR. HARDIN: In both existing and
7 proposed. But especially in existing. Our data base

8 now contains information on boreholes to the south
9 and west. They're not shown clearly on that map.

10 MR. VOEGELE: Is that because they're
11 larger scale than this map?

12 MR. HARDIN: Well, I would draw more
13 red X's.

14 MR. VOEGELE: I was only trying to
15 emphasize the core holes that would obtain the best
16 data used to extrapolate the stratigraphy. I'm not
17 trying to downplay the presence of water table holes
18 and things to the west. I'm trying to emphasize the
19 core. There is a proposed drilling program --

20 MR. DEERE: Excuse me. A number of
21 those have been geophysically logged, haven't they?

22 MR. VOEGELE: I believe they all have,
23 Bill. This is the proposed drilling program, and
24 what I would like to show you on this map is in fact
25 the holes that are really the elements of the

1 systematic drilling program.

2 There are two people in the room who
3 are able to address the rationale behind the
4 statistical basis for the systematic drilling program
5 better than I can. The point I'd like to make with
6 this figure is basically that the holes have been
7 laid out with a mind to be able to
8 geostatistically determine the data that comes from
9 those vertical core holes.

10 Ernie or Scott, do you have anything
11 else to say relative to this --

12 MR. SINNOCK: They're also laid out not
13 only geostatistically. But you have a good look at
14 the aerial coverage across the site, at least in a
15 vertical or slant profile. You get a good look at
16 the stratigraphy and identify fairly wide spacing any

17 major trends that may require further followup or
18 more detailed investigation. Again, based on
19 sensitivity or whether the analyses show that
20 anything is sensitive to the variability we might
21 find.

22 MR. VOEGELE: I think Scott indicated a
23 point that I probably would have not forgotten, and
24 that is that this is the first phase of the
25 systematic drilling program. Depending upon the

304

1 interpretation of the results of these drill holes,
2 the Site Characterization Plan describes a process to
3 systematically gather additional information to
4 find -- reducing the level of uncertainty.

5 I wanted to emphasize an aspect of the
6 surface-based program in addition to the borehole

7 coverage, and that's the surface-based infiltration
8 program. It's a program to collect extensive data
9 from numerous surface investigations and we'd attempt
10 to characterize precipitation, runoff, infiltration,
11 evaporation, transpiration and model that
12 infiltration under a variety of expected and
13 unexpected conditions.

14 The purpose of this activity is to give
15 us a value or provide estimates of the flux
16 distribution, and that would be a surface boundary
17 condition effectively to our modeling of the
18 repository performance.

19 This is the amount of water coming down
20 to the top of the repository horizon. So there's an
21 extensive surface-based infiltration program. The
22 systematic drilling program that we discussed
23 previously focuses on things below the repository
24 horizon.

25 As Max noted, the other components of

1 the program that's very important is if that water
2 does get to the repository horizon, meet the waste
3 canisters and move on down through the horizon, the
4 barrier we have that we'd be depending on is below
5 the Topopah Springs.

6 MR. DEERE: Do any of the borings that
7 have been laid out or have been done at the moment
8 cross diagonally the Ghost Dance Fault?

9 MR. VOEGELE: Not at the present time.
10 I believe there's a program of two boreholes, one on
11 either side of the Ghost Dance Fault, to try to do
12 some communications experiments.

13 MR. WILSON: And one of them will cross
14 the fault.

15 MR. VOEGELE: The second element of the

16 program was in fact, is the underground portion of
17 the program and I'd like to elaborate a little bit
18 about these three portions of that program, and I'd
19 like to introduce that by showing you another plan
20 view of the site that addresses the question of why
21 the exploratory shafts are located where they are.

22 There was a study done in 1983 by the
23 project that did a figure merit approach to looking
24 at establish the location of the exploratory shaft
25 facility, which at that time was a single shaft.

306

1 There were several excluding criteria as a part of
2 that study. This is consistent with the idea of the
3 block-bounding structures that we talked about in the
4 earlier view graph.

5 The scientists wanted to find a

6 location for the site that was inside of these block
7 boundaries, but set back from it. And they focused
8 on placing the location in rock that would be judged
9 to be typical of the primary exploration block as a
10 whole. They wanted to retain some flexibility. They
11 tried to site the exploratory shaft location 1,000 to
12 2,000 feet from what they call potentially adverse
13 structures, which would be things like the Ghost
14 Dance Fault or some of the bounding features.

15 At this time of the program it was the
16 goal of the scientists to drill horizontally out to
17 those structures, and we've since that time changed
18 to drifting to those structures. They wanted to
19 ensure the success of the subsurface facility, and to
20 do so, they tried to locate it in rock that would
21 ensure its constructability, which in their minds was
22 the best rock they could find within that primary
23 area. And as a means of supporting it from the
24 surface, they wanted to avoid adverse topography and

25 rock slopes.

307

1 I've only selected one overlay from
2 that activity. If you'd like to see what each of
3 these things look like, I'd be happy to show you
4 several more overlays. It's your call. Would you
5 like to see what all those things look like?

6 We can get you a copy of this report,
7 or hard copy of these figures if you'd like. This is
8 the area that they set -- avoided the boundaries and
9 set back from the boundaries to get into better
10 quality rock where they felt they had more success at
11 constructability.

12 So this is the first area they were
13 concerned with. Relative to constructability and
14 avoiding the adverse structure -- and for instance,

15 you can readily recognize the Ghost Dance Fault on
16 this overlay. This is the area that remains as the
17 primary candidate for a shaft location.

18 When you consider that you want to
19 be -- at that time they wanted to be close enough to
20 these adverse structures so they could drill to them.
21 Or in this case today where we could drift to them.
22 These are the areas that are preferred.

23 If you look at the surface and try to
24 find the areas of -- the flattest areas or washes
25 where you could site a shaft facility, these are the

308

1 areas that are preferred. And basically, when you
2 overlay those, you end up with these being the
3 preferred areas for location of exploratory shaft.
4 And this is, in fact, the one that was selected.

5 We noted that there's a
6 characterization program to gather various types of
7 data about the rock in the subsurface, and in
8 particular we would look at evaluating construction
9 effects on the rock, mass performance characteristics
10 near the shafts and other openings. These would be
11 deformation measurements, blast damage type
12 measurements that Bill talked about yesterday.

13 There are a series of programs in the
14 subsurface to look at, like diffusion, hydrologic
15 equilibrium between the fracture and the matrix of
16 the rock mass. There are tests designed to look at
17 scale dependence, look at water mobility in fractures,
18 there are tests designed to look for natural tracers.

19 We have programs designed to observe
20 and evaluate geomechanical responses, including scale
21 dependence and to look at geomechanical responses
22 while drifting through what could be major structures.
23 There are programs designed to investigate near-field

24 waste canister environment and drift scale heating
25 effects in the Topopah Springs.

309

1 I expect of more interest to you,
2 considering the topic, is our program of exploratory
3 drifting. It's a program to investigate what we
4 expect to be potentially adverse geologic structures,
5 and it complements our surface-based investigations,
6 like the mapping of the faulting structures and if
7 we're successful the slanted hole programs.

8 The features we'd like to investigate
9 with our exploratory drifting program encompass a
10 range of conditions of parameters such as flux, what
11 the hydrologic character of the fault would be, the
12 type of faulting, offset along the faults, whether or
13 not there's lateral diversion of flux of water by the

14 fault, the age of the fault and what the nature of
15 the fault is at depth.

16 Remember that we have a relatively
17 conservative set of bounding structures. Some of
18 those faults might not persist in-depth, some of them
19 may have a different nature at depth. They may not
20 be truly normal faults. They may be deeper than is a
21 concern to us for the repository. And there's also
22 the question of looking at repository construction
23 feasibility.

24 The three features that are targeted
25 right now for the exploratory drifting programs

310

1 encompass, I believe, a fair range of the features.
2 There's the imbricate normal faulting which there are
3 questions related to high structural dip. Whether

4 there is high flux in those faults. Whether or not
5 there's competent rock associated with those faults.
6 Whether we could mine through it or we couldn't mine
7 through it. Whether it would have any impacts on
8 performance.

9 The Drill Hole Wash feature is oriented
10 such that it is thought to be a slip fault, and we
11 are questioning the age of that fault. There have
12 been some proposals in the past that in fact
13 structures such as the Drill Hole Wash structure are
14 the major conduits for re-charge of the water table
15 in areas like the Yucca Mountain area. Again,
16 there's the question of competency of rock near that
17 feature and the potential for repository expansion.
18 There is the question of whether Ghost Dance has
19 hydrologic significance. I currently believe it to
20 be a hinge fault. You reported that, Bill?

21 MR. WILSON: Which one?

22 MR. VOEGELE: Ghost Dance.

23 MR. WILSON: No. Solitario Canyon is.

24 MR. VOEGELE: Okay. Ghost Dance is

25 thought to be normal fault?

311

1 MR. WILSON: As far as I know.

2 MR. VOEGELE: Okay. Again, there are
3 questions of hydrologic significance. This is the
4 major feature within the repository block, the Ghost
5 Dance Fault, and we'd like to investigate whether
6 there are ground-supportive implications for the
7 repository development through that structure.

8 MR. ALLEN: What do you mean by that?

9 MR. VOEGELE: Ground support
10 implications?

11 MR. ALLEN: Right.

12 MR. VOEGELE: There are questions

13 related to whether or not you could drift through a
14 fault like the Ghost Dance Fault and not have
15 stability problems. I'm not sure I answered your
16 question.

17 MR. DEERE: Well, we know you can do it,
18 no problem. The question is, is there water there?
19 I mean the hydrologic thing is number one.

20 MR. VOEGELE: I'm going to show you a
21 picture in a minute or two.

22 MR. DEERE: If we can't drift through
23 it, it's because there is water there.

24 MR. VOEGELE: I need to emphasize that
25 we've focused our program on these three long drifts.

312

1 But the program contains provisions to investigate
2 other faults that we might encounter while we're

3 doing the excavation of the exploratory shaft
4 facility, and it also contains flexibility such that
5 as we begin to understand the site character a little
6 bit better and find ourselves in a position where we
7 may have to do additional drifting to look at
8 structures like the Solitario Canyon or features to
9 the south, we have sufficient flexibility in the
10 program so that the existing design can support that.

11 I'd like to show you where those
12 features are. Basically, the drift to the imbricate
13 fault structure runs along like this. There is a
14 drift to Drill Hole Wash, and we've got a little jog
15 in it here, and a drift over to the Ghost Dance Fault.
16 So basically, that is probably not plus or minus ten
17 degrees from the program of current drifting
18 envisioned.

19 I wanted to emphasize, in fact, that
20 there is a slant hole plan to look at Solitario
21 Canyon, and if there is some success in that, we have

22 the option of doing some slant holes to look at
23 features in the abandoned wash in the imbricate fault
24 structure. I think that's very heavily dependent on
25 our success in the horizontal hole at Solitario

313

1 Canyon.

2 I wanted to show you one picture. This
3 is in G tunnel. This is a picture of a drift that
4 was excavated to look at control blasting. Look at a
5 control blasting program in rock that, from a
6 mechanical standpoint, I believe, is very similar to
7 the Topopah Springs formation. This is the Grouse
8 Canyon, and I expect you'll be in G tunnel. There
9 was actually a fault in here that was mined while
10 they were developing this drift. There's another
11 drift up around the corner from this where the heated

12 block test is in G tunnel.

13 I was involved with helping Sandia at
14 that time, and we actually mined through another
15 fault up there, and it occurred at a time of the year
16 when the Test Site contractors shut down the Test
17 Site over Christmas and New Year's. We mined through
18 that fault just shortly before that, and we didn't
19 even know it and it was unsupported. We came back
20 four or five weeks later and we mined a little bit
21 more and they put their support in it at that time.

22 I think the point Dr. Deere made is
23 very well taken. The significance of these faults
24 for terms of constructability is probably the
25 question of whether there's water in them or not.

314

1 To summarize what I had to say about

2 the site characterization program, the points I was
3 trying to make is that we've tried to balance and
4 integrate the site characterization program to look
5 at the characteristics of the sites from both
6 surface- and subsurface-based programs. We've tried
7 to make them complimentary so that we could actually
8 integrate the data from the two programs.

9 The importance in site performance
10 depends on the full unsaturated zone section and
11 presence of the water table, low water table. It's
12 the same point Bill was trying to make yesterday.

13 The strategy we have currently in our
14 SCP for demonstrating long-term performance of the
15 site really emphasizes the strata over above Topopah
16 Springs and underlying the host rock of Topopah
17 Springs, which would be a retardation question.

18 Where would those radionuclides go if in fact they
19 were dissolved by reaching the canisters.

20 The effects of faulting on performance

21 depend on the full unsaturated zone and we've tried
22 to develop a variety of approaches to characterize
23 those attributes.

24 Now, this concludes what I had intended
25 to say. The following presentation from Joe

315

1 Tillerson takes the program that we've laid out here
2 and tries to describe the exploratory shaft design
3 aspects that address this kind of a program, and the
4 question of integrating with the repository. I'd be
5 happy to entertain any questions that you might have
6 before I sit down.

7 MR. DEERE: Could you go over number
8 four there again, please?

9 MR. VOEGELE: The point I was trying to
10 make here is that we need to understand the full

11 three-dimensional implications of the presence of the
12 fault. We need to understand what the flux might be,
13 whether there's re-charge at the surface, what its
14 surface manifestation is, what it does in the
15 subsurface, like it may form a barrier at the lateral
16 core -- be part of a lateral diversion process,
17 somewhere between the ground surface and repository
18 horizon -- and that information is necessary to
19 really understand what the implications of that fault
20 would be on the repository performance.

21 We may look at it at the surface and
22 see not a real high probability for it being a
23 re-charge conduit, and at depth we may find out that
24 it's dry. In between those two it's possible that in
25 fact water might pond against that fault or perch

1 against that fault. So we need to understand the
2 full three-dimensional implications of the process.

3 MR. DEERE: I think you're absolutely
4 right, but I just wonder if you have in the program
5 sufficient exploration to get the information on that
6 Ghost Dance Fault; it's right in the center of
7 everything.

8 And all of the sketches where we see
9 scenarios showing perched water and we have the ten-
10 degree depths and then we have the Ghost Dance Fault.
11 So it can dam it up, and it can also allow it to
12 percolate down. So it's both a dam and a drain.

13 And I don't think we can -- I'm not
14 sure you have enough exploration at present for a
15 stage program to intersect that in enough places to
16 be able to characterize it. And it's certainly going
17 to influence Bill's model terrifically, I would think,
18 one way or another.

19 MR. WILSON: I guess my answer to that

20 would be we'd take a look at it with the program that
21 we do have, and if it turns out to be an important
22 feature hydrologically we'll expand that program. We
23 really don't have any information at all now. This
24 is all conceptual.

25 MR. DEERE: Yes.

317

1 MR. WILSON: Take it one step at a time.

2 MR. STEIN: I might just add to what
3 Bill said in regard to the Site Characterization Plan,
4 that characterization plan is a document that
5 presents our current best judgment of what we need to
6 do in order to characterize the site and gather the
7 data necessary to support our license application.
8 But it's not meant to be a document that is the end.

9 We have a program, a continuing program.

10 As new information is developed, whether it suggests
11 that we do additional work or we need to do less work,
12 that would present it in our six-note progress
13 reports, and the program can be changed to
14 accommodate needed new information, or to come to a
15 conclusion that the information that we have is
16 sufficient to support a particular licensing finding.

17 So again, the only purpose of this
18 comment is to say that there is a certain amount of
19 dynamic movement, if you will, in a site
20 characterization program, and this SCP represents our
21 current best judgment of what that program meets
22 today.

23 MR. DEERE: I think the danger you
24 would run into with a limited amount of exploration
25 on the Ghost Dance Fault is that if the boreholes

1 give fairly good information and indicates that's an
2 impermeable fault and will not have much effect, we
3 will be basing our decision on only two points. Only
4 going to cross two places.

5 And it's such a horrendous feature with
6 respect to a crosscutting structure, as compared to
7 the rest of the site inside of the boundary zone, as
8 we know it. I mean, you might say it is a boundary
9 in itself, and maybe we should be on the two sides of
10 it, rather than having cut through.

11 So it seems before you can make
12 information as needing more information, you have to
13 get more information. I would think that's one point
14 you could accelerate the amount of drilling. And
15 concentrate a little bit more on that because I see
16 it as a potential dominant character on the studies
17 that you made.

18 MR. VOEGELE: I'd like to respond to

19 that in terms of a comment I believe it was Dr. North
20 made yesterday regarding the contingency planning for
21 offsetting the current plans within the site
22 characterization plans.

23 The current plan for the repository
24 conceptual design actually is predicated upon being
25 able to develop that repository and stand off from

319

1 features like that if they turn out to be hydraulic
2 conduits. So the comment that maybe we should be on
3 either side of the fault is something that's
4 currently planned. I believe the repository design
5 has sufficient flexibility to avoid features like
6 that if they are adverse.

7 MR. DEERE: I think that's very good.

8 MR. NORTH: Could you give us maybe a

9 couple sentences as to what that plan might look like?
10 Would you avoid the fault entirely by putting
11 essentially two repositories on either side of it?
12 Or would you go entirely on one side or the other?
13 Or would you drill one tunnel underground through the
14 fault and protect it in a certain way?

15 MR. VOEGELE: All of those are options
16 that would have to be pursued. I believe the current
17 thinking leans more heavily toward the fact that the
18 Ghost Dance Fault will not be a major barrier to the
19 development of our repository.

20 MR. NORTH: One of my questions is if
21 you find out it is a major barrier, when are you
22 going to find that out, and what is it going to mean
23 in terms of time and money to fix it?

24 MR. VOEGELE: You begin to get the
25 information to answer that question from the drifting

1 out to the Ghost Dance Fault that takes place during
2 these earlier stages of site characterization.

3 Bill, maybe you could help me with the
4 phasing for the hydrologic testing of the Ghost Dance
5 Fault from the surface. Is that relatively early in
6 the Site Characterization Plan? Dave is shaking his
7 head yes.

8 MR. WILSON: I think so. Those are two
9 of the unsaturated zones that we'll be doing
10 cross-hole testing, and so there will be an extensive
11 program at that site.

12 MR. VOEGELE: I believe Dr. North's
13 question is focused on the Ghost Dance Fault for this
14 purpose.

15 MR. NORTH: Yes. But a similar
16 question could be posed with regard to unknown
17 structures.

18 MR. VOEGELE: Undoubtedly, that's a
19 true statement.

20 MR. CORDING: Your exploration program,
21 as was being pointed out, I think, in terms of the
22 vertical holes, obviously you're looking more at
23 stratigraphy than you are not by doing sampling to
24 any significant extent of unknown faults. You may
25 sample across a known fault, but you're not doing

321

1 sampling of unknown near vertical structures. You
2 have a primary area there with nothing through it to
3 sample those types of structures.

4 The possibility of offshoots from
5 Solitario Canyon or Ghost Dance or other features in
6 there which you cannot detect from surface mapping
7 seems to me to be high, and therefore, is there --

8 shouldn't there be some sort of program for going
9 across at least normal to those primary directions of
10 primary structures, regional structures? Principally,
11 a north, northeast, northwest sorts of structures,
12 across the entire site?

13 In other words, once you've gone across
14 the Ghost Dance and looked at it and then you've
15 decided that that is or is not a problem, what do you
16 know about that primary area? It still remains an
17 unknown.

18 MR. VOEGELE: From the perspective of
19 having as much detail as we would have within this
20 drifting program, the answer is certainly yes. I
21 would like to answer that question from the
22 perspective of trying to make decisions based upon
23 information that you obtain from the continuing
24 phases of your exploration program. I think that in
25 fact, there is sufficient flexibility in this program

1 to expand that drifting, as we get information that
2 would suggest it's warranted to expand that drifting.

3 In the context of Max's presentation on
4 the regulatory constraints, the important point to
5 emphasize in fact, is that we have tried to keep the
6 amount of exploration a minimum amount of exploration,
7 we've tried to keep this a small facility.

8 There is support for your concept
9 within the program of expanding this drifting to look
10 at other features. I think we would like to base the
11 decisions to expand the program of exploratory
12 drifting on more information than we currently have
13 from the borehole program today.

14 MR. ALLEN: But isn't it true that if
15 the characterization plan goes through as now
16 envisioned, we really won't know anything more about

17 the primary area than we know right now, except we'll
18 have some vertical holes through it that won't tell
19 us anything or very little about possible faults.

20 MR. VOEGELE: From the perspective of
21 having obtained horizontal information from a
22 horizontal sample of that feature.

23 MR. ALLEN: Well, insofar as faults are
24 obviously perhaps the major concern in terms of
25 anomalies, we may not know more about it than we know

323

1 now.

2 MR. VOEGELE: I believe that's a true
3 statement. I would ask Scott or Ernie to comment on
4 that if they have a comment.

5 MR. SINNOCK: I think considerably more
6 about both the structural and stratigraphic

7 characteristics of that three-dimensional block based
8 solely on the drilling. Some of those can certainly
9 slant. And particularly, accommodation with this
10 drifting and perhaps expanded drifting.

11 I have to agree, I think this
12 characterization program is going to increase our
13 knowledge about stratigraphic structure about the
14 block very significantly as what Mike showed you is
15 now based on really three boreholes that go to the
16 water.

17 MR. ALLEN: I agree. The question is
18 on vertical faults, whether we're going to know much
19 more about it.

20 MR. SINNOCK: Yes, I think if we design
21 some of these to slant holes we'll know considerably
22 more. Perhaps not in terms of offset, but perhaps in
23 terms of mechanical and hydrologic implications of a
24 fracture, whether that fracture happens to have
25 offset along it, or whether that fracture may have

1 offset.

2 MR. ALLEN: But the only slant is along
3 the process Solitario T --

4 MR. VOEGELE: The slant hole along that
5 fault is a prototype to demonstrate that in fact we
6 can do slant hole drilling dry.

7 MR. ALLEN: Then if it works you would
8 propose to do it in other places in the primary area.

9 MR. VOEGELE: I think that's correct.

10 MR. CORDING: Really, your slant holes
11 are not -- I would assume that you're not going to be
12 able to cover the entire profile using slant holes at
13 locations of known or suspected faults. You're not
14 doing that to explore for unknown ones; is that
15 correct?

16 MR. VOEGELE: That's correct. I need
17 to emphasize a point that going back to 60.15 and the
18 regulatory requirement to try to limit the number of
19 boreholes and shafts in your characterization program
20 and make them coincident with shafts located within
21 pillars in the repository is a very important aspect
22 of the talk that Joe is about to give. I don't want
23 to steel his thunder, but I think that you're
24 trying -- well, the way Max puts it is we don't want
25 to make Swiss cheese out of the repository block.

325

1 I think the way Joe's going to put it
2 is in fact that we can't constrain the repository lay
3 out too soon in the program. We have to retain
4 flexibility to be able to move the attitudes of
5 drifts when we get down there and find out it may be

6 better to layout a repository oriented in a different
7 direction.

8 The more exploration we put inside the
9 block where we intend to put the repository, the more
10 constraints we put on the flexibility in the
11 repository layout, and that's been factored very
12 heavily into our thinking.

13 MR. CORDING: I think that's quite true
14 of the high angle features. But what about the drift?
15 Its horizontal drift at that level. I --

16 MR. VOEGELE: My point is --

17 MR. CORDING: Why would that constrain
18 the facility?

19 MR. VOEGELE: That drift then becomes
20 part of the repository, or else has to be encompassed
21 in some sort of barrier to be excluded from the
22 repository.

23 The point I'm trying to make is that if,
24 based on information that's available on day ten of

25 your site characterization program you decide to lay

326

1 out a drift that goes like this to look at some
2 structural feature or goes like this to look at some
3 structural, then on day ten plus 20, you've decided
4 you've got your repository laid out incorrectly by 45
5 degrees -- that's an extreme example -- you've
6 constrained your repository.

7 That's really the subject Joe wanted to
8 talk about, how to integrate the characterization
9 program within the repository design.

10 MR. SINNOCK: I also had, I think if
11 you look at the surface-based mapping program also,
12 the major structures I think the geologists are
13 highly confident major structures to identify. We
14 have excellent layer geology, stratigraphic control

15 to identify meeting structure. There's no reason to
16 suspect significant offset at Topopah Springs level
17 that does not occur at the surface and cannot be
18 identified.

19 Therefore, the unknown features we're
20 looking for are very small offsets that don't express
21 themselves unambiguously at the surface, at which
22 point that's why I make the analogy, the water and
23 mechanical properties may not care whether there's
24 offset along that fracture or not. So unidentified
25 faults are going to be fairly small offset; fairly

327

1 confident of that.

2 So one of the issues is, are those
3 ubiquitously fractured rocks acceptable rocks?
4 Because I think we can thoroughly anticipate finding

5 small offsets looking at that fault structure
6 throughout that block.

7 MR. VOEGELE: Ernie Hardin had a point.

8 MR. HARDIN: I might point out that
9 hydrologic significance of the faults is integrated
10 with the other hydrologic attributes in the site, in
11 that if the fault acts as a conduit that water has to
12 originate from infiltration processes and has to be
13 diverted, our surface-based characterization program
14 does provide basis for evaluating those other aspects.
15 It's a package.

16 MR. ALLEN: I guess I would argue that
17 no matter how good our geological program is up to
18 date -- and I have no reason to be critical of it --
19 I guess, based on experience, we are going to have
20 surprises. And somehow we have to be prepared to not
21 be too surprised.

22 MR. GERTZ: At too late of a date, I
23 guess.

24 MR. ALLEN: Yes.

25 MR. CORDING: You say well, it is

328

1 possible that we can extend the drifts at some later
2 time, and although I'm not sure anywhere in your
3 documentation you have an indication that we would,
4 for example here is a contingency. We will drive
5 across the site if we see such-and-such condition.
6 So at this point it remains sort of a generalized --

7 MR. VOEGELE: There are two points I'd
8 like to make relative to that. Do you know the exact
9 section number in 8.4? 8.4.2.?

10 MR. HARDIN: For the drifting? 161.

11 MR. VOEGELE: 8.4.2. 161. And the
12 other question I need to have answered is the
13 additional amount of drifting that we currently

14 believe we can support with the existing facilities.

15 MR. TILLERSON: Mike, the evaluation is
16 done on the basis of 10,000 feet of drifting, and
17 that was deemed that you could accomplish that.

18 MR. VOEGELE: So we have a program that
19 encompasses about -- if my number's right, about 4500
20 feet of drifting in the main test facility, about
21 5,000 feet to the structures out here, and sufficient
22 flexibility in the facility to support like another
23 10,000 feet of drifting.

24 MR. TILLERSON: Well, 10,000 feet was
25 evaluated and was accepted, but the absolute limit

329

1 was not established.

2 MR. DEERE: Could you show us there on
3 the map up there? I couldn't see it there.

4 MR. VOEGELE: I'm sorry.

5 MR. DEERE: I still can't.

6 MR. VOEGELE: Joe Tillerson has in his
7 presentation a detailed map that will indicate this
8 clearly. But there's about 4500 feet of drifting to
9 support the testing programs within the main test
10 facility. There's roughly 5,000 feet of drifting in
11 the program to get out to these features. And as Joe
12 said, there was an evaluation done that suggests that
13 the support facilities for the exploratory shaft
14 could support an additional 10,000 feet of drifting,
15 which was our estimate of how to get down here. I
16 believe that was a double heading to get down?

17 MR. TILLERSON: Single heading.

18 MR. CORDING: Down to --

19 MR. VOEGELE: Down to the structure in
20 the southern part of the block that the NRC was
21 suggesting that we look at when they commented on the
22 SCP CD.

23 The answer to the question that was
24 implicitly asked is, we did not make a commitment to
25 do that drifting at this point in time, but did make

330

1 sure that the facility had sufficient capability to
2 allow us to do that drifting as we got more
3 information from the site characterization program.

4 MR. TILLERSON: That drifting, or
5 other --

6 MR. VOEGELE: Or other drifting, yes.

7 MR. TILLERSON: There are more
8 important things.

9 MR. VOEGELE: If it turned out that it
10 was more important or more productive or more highly
11 warranted to drift to Solitario Canyon to get
12 information, as Dr. Cording was suggesting, I believe

13 that could be supported by the facility.

14 MR. DEERE: You can see one potential,
15 and that's the drift that goes to the northeast is to
16 extend that on down to the southwest. You get
17 yourself a second look at the Ghost Dance.

18 MR. VOEGELE: This is the repository;
19 is that correct, Joe?

20 MR. TILLERSON: Yes. This is developed
21 along what is currently thought to be the repository
22 main.

23 MR. CORDING: In terms of the total
24 area, what you have to have for the repository, what
25 sized area -- does it fit within the boundaries of

331

1 Solitario Canyon and the other side? In order to get
2 a full facility in, how much of the area do you

3 really need to use?

4 MR. VOEGELE: Okay. The full facility,
5 how much of this area in here?

6 MR. CORDING: That's correct.

7 MR. VOEGELE: Joe has an accurately
8 drawn picture of that coming up in his first or
9 second slide, but I'll show you my inaccurately drawn
10 picture of it.

11 MR. CORDING: So you need to use most
12 of that area, but you can avoid certain portions of
13 the area at offsets of several hundred feet; is that
14 correct?

15 MR. VOEGELE: Yes.

16 MR. GERTZ: The area in the green, yes.

17 MR. ISAACS: I've been looking for the
18 right opportunity to make sort of a more generalized
19 statement that might help in some considerations here
20 with regard to the repository, so allow me a couple
21 minutes, if you will.

22 When the Nuclear Waste Policy Act was
23 passed in 1982 -- and those of you who heard the
24 presentation at headquarters heard some of this --
25 there was, shall we say, a political compromise at

332

1 that point in time to consider two repository
2 programs, and in fact the law stipulated that we go
3 forward with the two. At that point in time the
4 general estimate of the amount of nuclear waste that
5 would need to be disposed of through the year 2020,
6 which is kind of the time horizon they looked at, was
7 about 140,000 metric tons.

8 So one of the provisions of the law
9 stipulated that the first repository program could
10 not contain more than -- or could not emplace more
11 than 70,000 metric tons until NRC had issued an

12 authorization for the second repository, indicating
13 that indeed we were going to go forward. It was both
14 a technical but mostly a political stipulation to
15 ensure that we would go forward with two programs.

16 One of the bases upon which the
17 secretary subsequently deferred the second repository
18 program was that when you looked at what was
19 happening in the nuclear power industry, spent fuel
20 was being generated at a much lower rate than had
21 been anticipated when the Nuclear Waste Policy Act
22 was passed.

23 In fact, today's estimates of the total
24 amount that will be generated through the year 2020,
25 if you include defense wastes, is more like perhaps

1 110,000 metric tons. The variation is great,

2 depending on what you think will be happening to
3 nuclear power between now and then, but
4 unquestionably considerably less.

5 The other thing you need to understand
6 is that when the amendments act was passed, the
7 second repository program was deferred by congress
8 officially as well, and D.O.E. was told to bring a
9 proposal sometime between the years 2007 and 2010 on
10 the need for a second repository.

11 Now, all of this is to say -- and I've
12 made this point to people on many occasions. --
13 there's nothing that requires in law that the first
14 repository be 70,000 metric tons. That repository
15 could be 50,000 metric tons, or 150,000 metric tons.
16 The only stipulation in the law is that if it is
17 greater than 70,000 metric tons, one of two things
18 would probably have to happen: Either the law will
19 have to change, or we would have to have a second
20 repository program in order to meet the provision of

21 the law.

22 The reason I've mentioned this is
23 because of the way the law was structured when we
24 initiated this program, we asked all the projects at
25 the time, the three principal projects going forward,

334

1 to design their repository for 70,000 metric tons.
2 That still made a lot of sense to us then, and it
3 does now because of the way the law is structured.

4 But you need to recognize from a
5 programmatic point of view that there is flexibility
6 in the program, some uncertainty as to whether or not
7 this first repository will be the only repository
8 during any particular time period.

9 Clearly, if there was a resurgence of
10 nuclear power, then at some point in time one will

11 have to face the problem of more than one repository,
12 for sure. I just want to add that as a piece of
13 perspective because there's kind of an implicit
14 assumption in a lot of discussions if it isn't 70,000
15 metric tons and only 68,000, then something failed.
16 And that's not the case in the program. You have
17 flexibility on both sides.

18 MR. BLANCHARD: Anna has to change her
19 paper, and we had planned a break between Mike
20 Voegele's and Joe Tillerson's talk anyway.

21 (Thereupon a brief recess was
22 taken, after which the following
23 proceedings were had:)

24 MR. BLANCHARD: Before I introduce Joe
25 Tillerson, there are three things I'd like to call

1 your attention to.

2 First, are there people in here who
3 have not yet signed up on the sign-up sheet that's
4 routing around? If there is, please raise your
5 hands and we'll get it to you. Second, we have some
6 geologic maps to hand out. Did you get Florian
7 Maldonado's map?

8 We have them hanging over there.

9 MR. BLANCHARD: If you want more, we
10 have more. But those are two good beginning maps.
11 The Scott and Bonk map is a lot more detailed than
12 either of those, and a larger scale. So if you
13 really want to look at detailed structure, that's
14 Scott and Bonk.

15 MR. WILSON: That's in the frame behind
16 you.

17 MR. DEERE: And that one is available?

18 MR. WILSON: It's open file.

19 MR. BLANCHARD: Yes.

20 Third, we had talked about the DAA
21 yesterday, and I wasn't quite -- my assumption was
22 that we would mail copies of that to you because
23 there are fewer volumes that weigh about 15 or 20
24 pounds. I didn't think you'd want to carry them.
25 But if you want to look at a copy of the DAA we'll

336

1 bring it up. Is that worth your time? Should we
2 bring one up?

3 MR. STEIN: Yes, I think you ought to.

4 MR. BLANCHARD: Marylou, would you get
5 one from Jerry King?

6 One point that I think is appropriate,
7 just from a context to introduce Joe, and as a
8 finishing talk that Mike gave, and that is the
9 discussion about the balance site characterization

10 program effort that Mike talked about was constrained
11 to the block. We did not intend that to be a
12 presentation to you all about our 106 studies, 308
13 activities that support those.

14 There's an extensive unsaturated/
15 saturated zone program, there's a regional program,
16 there's a techtonics program. So there's much, much
17 more going on. Just please keep that in mind, and
18 maybe sometime in the near future you would like to
19 have a comprehensive look and total scope of the site
20 characterization investigations, and we'd be pleased
21 to put something together for you.

22 Joe?

23 MR. TILLERSON: My name is Joe
24 Tillerson. I'm with Sandia National Laboratories.
25 I'll be talking regarding the engineering functions

1 that the exploratory shaft is required to perform,
2 and then spending a great deal of time on the
3 discussion of integration of the -- or coordination
4 of the exploratory shaft activities with the
5 repository.

6 There are five principal functions that
7 are related to the ESF design, construction and
8 operation that I'd like to discuss. The basic
9 purpose of the facility is to allow the data to be
10 gathered to be acceptable quality, and acceptable
11 quality refers to idea of test interferences and
12 things of that nature.

13 The second thing is impact of
14 performance. We've discussed that in both regulatory
15 concerns and other ideas. The principal focus of
16 this topic is on effective integration with
17 repository design, and then also talk about safe
18 working environment in the underground and provide

19 flexibility for expanded exploration and testing.

20 While the focus will be upon this,
21 there will also be some discussion of some of the
22 other functions as well. The first portion of the
23 topic, describe the viability of the perimeter drift,
24 as regards integrating an early development of a
25 perimeter drift with the repository design itself.

338

1 And then the second portion of the talk
2 will be on the feasibility of using the current ESF
3 configuration to support the development, and there
4 will consider three of the functions that were
5 mentioned before. In particular, the working
6 environment, data quality and the flexibility aspects.

7 With regard to the viability of
8 integration with the repository design, the

9 implications there are that should discuss the
10 repository design, what its status is, and then in a
11 bit, why it looks as it does. To give you a bit of
12 background, the SCP conceptual design was developed
13 to meet the requirements of both the Nuclear Waste
14 Policy Act and some guidance from 10 CFR 60 to take
15 into account site specific requirements.

16 We use that design for three principal
17 purposes. The first one is to aid us in saying given
18 that you have a concept of what the facility is that
19 you would like to construct, what are the data that
20 are needed in order to be able to reduce the
21 uncertainties associated with that particular
22 facility?

23 Also provides the basis for how can you
24 best go about integrating the characterization
25 program with the repository design? And this is both

1 the surface-based program where we've talked briefly
2 about the idea of trying to put the surface-based
3 exploratory boreholes into where pillars would be
4 planned within the repository.

5 Or, if you want to look at it from the
6 repository design or standpoint, constraining the
7 development of the repository design to ensure that
8 it is a pillar as the final design comes out. And
9 then providing the basis for the designers to
10 initiate the additional design phases that will be
11 coming, both the advanced conceptual design phase
12 that would be initiated, as well as the license
13 application design phase, and then following on later
14 the final procurement and construction phase of the
15 design.

16 In the conceptual design it was
17 documented in two places. The basic design was

18 documented in Chapter 6 of the Site Characterization
19 Plan. It's the design that meets the requirements
20 here in a more detailed conceptual design report
21 which was published and provides many of the backup
22 studies that are supportive the design itself and
23 give a lot of additional details. So in two places.
24 Either Chapter 6 of the SCP, or the multi- volume
25 conceptual design report.

340

1 In that development, it's recognized
2 that there are numerous uncertainties associated with
3 the preliminary design, particularly a conceptual
4 design of a first of a kind facility. Indeed, it was
5 the purpose of that design to try to identify some of
6 those uncertainties, both particularly as regards the
7 data that are needed.

8 Obviously there are uncertainties with
9 regards to equipment and other things, but I won't
10 focus at all upon those types of things within this
11 particular discussion. More upon the uncertainties
12 related to the data that is being used.

13 To understand the viability of
14 integrating the design of the repository with the
15 perimeter drift, we need to understand both the
16 pertinent design features and their related
17 uncertainties. So let me take a schematic, this is
18 slightly different from the view that you have in the
19 handout, and let's talk just a little bit about the
20 design. What it consists of, and how it would be
21 developed.

22 The design basically consists of
23 surface facilities, means of access -- both
24 combination of ramps and shafts -- and then the
25 underground facilities. The conceptual design was

1 developed under the auspices of Sandia Labs, but I do
2 not intend at all to pass off the idea that Sandia
3 Labs did all of the work here. Bechtel was
4 responsible for the surface facility's design.

5 The underground portion of the design
6 was the responsibility of people at Parsons,
7 Brinkerhoff, Quade & Douglas, a team that was formed
8 to support us there. And numerous aspects of the
9 design were analyzed by various people within Sandia
10 and other contractors, particularly in the rock
11 mechanics area. Contractors you might be familiar
12 with are those at RE-SPEC, Paul Gnirk and some of his
13 people, as well as Agapita.

14 Mined ventilation surfaces was one of
15 the contractors to Parsons with regard to the
16 ventilation aspects of design. So numerous people

17 other than Sandia Labs have most definitely been
18 involved in contributing to the particular design.

19 With regard to the pertinent design
20 features, there's three that I'd like to call your
21 attention to at this point in time. Tom has talked a
22 little bit about the first one, and that is with
23 regard to the capacity of the repository, and I think
24 he shared with you a little bit of the uncertainties
25 with regard to what the capacity is. But as you're

342

1 well aware, in the design area, you need a basis for
2 your design.

3 The design basis for the conceptual
4 design that we'll be speaking of is to be able to
5 store 70,000 MTU within a period of 25 years. So in
6 an operating time for the emplacement of the waste of

7 about 25 years, more detail was prescribed in that
8 with regard to receipt rates; you'd start out slow
9 and you'd build up and all.

10 But principal feature here is ability
11 to store within Yucca Mountain 70,000 MTU in a period
12 of accomplishing that in sizing the amount of
13 equipment that you would need and the number of
14 headings you would need to be operating on to be able
15 to accomplish this in a period of 25 years.

16 The second pertinent design feature is
17 to take essentially the amount of energy that's
18 related to the waste and decide how much of that
19 energy, on a per square plan form area, per square
20 unit of plan form area, would you emplace? In other
21 words, how heavily are you going to load the geologic
22 region in which you're storing the waste.

23 Evaluations that were done, we came up
24 with 57 kilowatts per acre as the thermal loading
25 that was selected for this particular repository.

1 That gives you, then, if you consider a number of
2 things with regard to the 57 kilowatts per acre,
3 you'd think well then, knowing how much energy is in
4 the waste, you'd know exactly how much waste you'd
5 need. It's not quite that simple because you'd have
6 to have support facilities shops, you'd have to have
7 accesses, test areas, and you would want to integrate
8 those.

9 By integrating all those other things,
10 you end up with a total within the perimeter drift of
11 the repository as it's designed of 1420 acres.
12 Remember the number that Mike talked about was 1850
13 with regard to the usable area at this point in time.
14 So contingency of about 400 or so acres.

15 Let's look at the underground aspects

16 of the design. I'll describe some of those aspects
17 of the design to you. When you see a design such as
18 this, the immediate question that I think pops into
19 most people's minds is, why is this repository shaped
20 as it is? I will attempt to describe that because I
21 think it's very relevant to the question of perimeter
22 drifting.

23 The perimeter drift, to orient you, the
24 drift we're talking about is the drift that goes
25 around the area of the repository there. Its primary

344

1 use in the repository is for the return of
2 ventilation air to the composite shaft, relative to
3 the emplacement site, where you have emplaced waste
4 and you're blowing air through that area, then you
5 would exhaust the air in the drifts in which you're

25 associated with the requirement to maintain separate

345

1 ventilation systems for the areas in which you're
2 developing, as compared to the ventilation for the
3 areas in which you are emplacing the waste. The
4 development sequence for the repository, as currently
5 represented in the design, would be to use tunnel
6 boring machines to develop the waste ramp and the
7 tuff ramp to take, once you have reached the
8 repository level, to use one of the tunnel boring
9 machines as is needed to develop the portions of
10 perimeter drift.

11 The other one that would be developed
12 early on is the long extent of the mains clear to the
13 southern end of the block. Obviously a portion of
14 one of the mains would be developed as part of the

15 site characterization program, and I'll show you an
16 overlay with regard to that particular development in
17 just a moment.

18 But the plan development would be to
19 drive the mains to the southern extent of the block,
20 and then to develop the panel access drifts off of
21 those. And then, as the panel access drifts for a
22 given panel ended up, to connect the perimeter drift
23 to those portions of the panel that have been
24 developed at that time.

25 So the perimeter drift would be

346

1 developed on a piecemeal type of basis, according to
2 the design that's published in the SCP.

3 MR. DEERE: Would you run by that again
4 for me, please? The two TBN's are coming in from the

5 ramps, they are now available. One would continue
6 down through the central drift?

7 MR. TILLERSON: Go through.

8 MR. DEERE: And it would go all the way
9 through?

10 MR. TILLERSON: That's correct.

11 MR. DEERE: The other would be on a
12 standby basis?

13 MR. TILLERSON: The others would be
14 used to develop for this particular region here in
15 the early development, and then on a stand by basis,
16 being used periodically to develop the perimeter
17 drift.

18 Now, again, part of the logic is
19 associated with how do you establish the extent of
20 your panel access drifts, or the extent of the panels?
21 In the current design there are both engineering
22 considerations relating to why it's shaped as it is,
23 and there are constraints associated with the site

24 itself; the geology or rock mechanics-related
25 constraints or performance-related constraints.

347

1 Those are associated with the property of the site.

2 Let me give you an example of one that,
3 in the current design, is an engineering-related
4 constraint, and that is the squared nature of this
5 particular region right here. This distance from
6 here to here, roughly 3,000 feet. Designers, in
7 developing the plans for ventilation, said we would
8 like to have roughly a 3,000-foot desirable limit.
9 Not a hard and fast type of number, but a desirable
10 limit for purposes of ventilation. We would like to
11 limit the extent of any one panel to 3,000 feet. So
12 that's why you see the squared off region here.

13 The thoughts in developing the extent

14 of the panels is the idea that if additional area
15 were to be qualified for use, then the way in the
16 current design in which the extent of the panels
17 would be developed is proposed to be that you would
18 drive your panel access drifts out to the area in
19 which you have established that you either want to
20 stop because of engineering reasons, or based upon
21 characterization information that you have found out,
22 or information that you find out as you are
23 developing.

24 So the development of the regions where
25 you're storing waste in this region, for example, you

348

1 would be developing one to two panels -- translate
2 that one to two years, in terms of the timing
3 sequence roughly. But one to two panels in advance

4 of the actual emplacement you would be developing the
5 panels. You'd develop your access drifts and your
6 perimeter drifts early on, and then you would go in,
7 and within a given area, you would develop your
8 actual emplacement drifts and you'd drill your
9 boreholes in which to place the waste and the
10 hardware.

11 So there is a lot of development that
12 is required prior to emplacing the waste, and it's
13 that development that would precede the waste
14 emplacement. So one to two years in advance of that
15 you would be doing the establishing the final number
16 for the limit, and then you would target for the
17 limit the extent of your panel access drifts and then
18 you'd target your perimeter drifts such that you
19 connected with that.

20 Again, that is the current design
21 philosophy. There are other aspects with regard to
22 why, in the current design, we have limited the

23 extent of the drifts, and let me describe those

24 starting with this particular view graph here.

25 This is a cartoon type of figure of the

349

1 problem that was facing the designers with regard to

2 how to fit the repository into there. One of the

3 engineering constraints that I had discussed before

4 was how far from the mains do you want your longest

5 drift to be?

6 The second thing that comes in from an

7 engineering constraint is, across this mountain, what

8 is the maximum grade that you would like for your

9 equipment in general to be operated on? In the

10 current design, that maximum grade is set at ten

11 percent. So that's a fairly high number, for those

12 of you that are familiar with the equipment. It is

13 not meaning that all of the drifts in there are by
14 any means at ten percent grades. But you're talking
15 about in general your waste mains, your panel access
16 drifts so the more highly -- have the higher grades.

17 Your emplacement drifts are not nearly
18 as so high a grade. You want a flatter surface from
19 which -- to actually physically put the waste into
20 the holes. But that is the second engineering
21 constraint that I bring up, is the grade of operating
22 the equipment.

23 The third thing that I bring up is for
24 some portions of the mountain, you have a constraint --
25 for all portions you have a constraint that applies,

350

1 but for some portions you reach that constraint as it
2 controls in that particular region, and that is the

3 idea of defining the region in which we could place
4 the repository within the Topopah Springs.

5 And then more fine-tuning within the
6 Topopah Springs, we would like to stay below the
7 region in which you begin to have high lithophysae or
8 high vitrophyre content, or translate that into lower
9 strength. That is where, over in this particular
10 area, that's what is indicated by the schematic that
11 we have here.

12 On the other side of the facility,
13 particularly over here near the Solitario Canyon
14 region, you begin to run into the idea that you would
15 also not like to be operating where you have this
16 vitrophyre in your roof area, or you don't want to be
17 drilling through that type of material. You would
18 prefer if you can, from a design standpoint, to
19 remain above the vitrophyre.

20 So the approach that was taken here was
21 to define a 45-meter thick slab, and that's basically

22 enough room for the vertical emplacement drilling,
23 the room itself, and a contingency area above and
24 below that for approximately an additional amount of
25 that space.

351

1 So if it's about 15 meters to include
2 both the dimensions of the holes that you're drilling
3 and the drift height itself, the 45 meters comes out
4 to be three times that. So one space runs certainly
5 in the roof, and one space runs certainly in the
6 floor, and the approach taken in the design was try
7 to fit a 45-meter thick slab through the repository
8 considering the constraints associated with
9 lithophysae, vitrophyre, some standoff from
10 structural features and your equipment limitations.

11 The uncertainties that exist there are

12 certainly with regard to how much do we really know,
13 particularly all the way across the mountain
14 regarding the presence of the vitrophyre. Exactly
15 how well do we know that stratigraphic content? How
16 well do we know, and what data do we have that
17 support exactly how much lithophysae is too much, or
18 how much is acceptable, and what is the criteria
19 associated with that?

20 Obviously the site characterization
21 information that we're obtaining is intended to
22 derive more detailed evaluations of this. But for
23 purposes of the conceptual design, these evaluations
24 have been made.

25 MR. DEERE: Question: Is it really

1 much of a constraint? Because even with the presence

2 of lithophysae, isn't the compressive strength still
3 well above any stress that would be generated around
4 the cavity?

5 MR. TILLERSON: The answer is no. And
6 let me explain a little bit more there. If you look
7 at what are the loads, the loads that are emplaced
8 within the drift areas or around a borehole or
9 whatever you're looking at with regard to the stress-
10 to-strength ratio, the loads come from the in-situ
11 stresses obviously, plus the excavation in closed
12 loads.

13 The idea is you produce stress as you
14 open a drift. But also the thermal effects
15 associated with this 57 kilowatts per acre, the Alpha
16 Delta T stresses that come from that. If you look at
17 the types of stresses that you're talking about there,
18 you can end up with some areas in terms of quantities
19 of lithophysae in which you would predict that with
20 very high lithophysae, your strength is not adequate

21 to withstand thermal loads. Generally it's believed
22 adequate to withstand your construction-related type
23 of loads.

24 But with regard to the additional
25 thermal loads that would be imposed around the drift

353

1 that are several times those associated with just the
2 excavation-induced loads, you can run into situations
3 we believe, from the very limited data that we have --
4 we have about eleven tests, I believe it is, on
5 12-inch diameter specimens in which we have cored out
6 Busted Butte some lithophysae material and have
7 physically run that size specimens.

8 So there is some uncertainty with
9 regard to whether the highest lithophysae we have
10 would be able to withstand the thermal loads

11 associated with the repository.

12 MR. DEERE: Do you recall what the
13 strength value is of the large samples? Less than
14 concrete?

15 MR. TILLERSON: My recollection is yes,
16 less than concrete. But in Chapter 2 of the SCP
17 there is some discussion of the specifics of that.

18 MR. VOEGELE: Both are tables of those
19 strength values. Joe, it's probably also worth
20 mentioning the thermal conductivity changes as you go
21 into a higher lithophysal content material, as well.

22 MR. TILLERSON: That's right. You get
23 even higher thermal stresses because your thermal
24 conductivity of your lithophysae material is not as
25 high as the thermal conductivity of the non-

1 lithophysal material. Air is not a very good
2 conductor; it's a pretty good insulator. Therefore,
3 your localized temperatures around the drift would be
4 somewhat higher in a drift that would be placed in
5 high lithophysae material, than would be in a non-
6 lithophysal region.

7 So those are the reasons we would like
8 to avoid the lithophysal types of material, and
9 obviously associated uncertainties with that.

10 MR. DEERE: Thank you.

11 MR. TILLERSON: There is projection of
12 the structural features to depth, there are
13 uncertainties also with regards to that. When we
14 look at the questions regarding the uncertainties and
15 we look at the design that has been developed to date,
16 given some preliminary constraints that we
17 established, we end up with the usable area that Mike
18 showed you as being shaped roughly like this. That
19 usable area being constrained over on this particular

20 boundary by the high lithophysae type of thing
21 relative to the repository. Over on this particular
22 boundary by two constraints. The 200-meter
23 overburden constraint that is part of the siting
24 guidelines as a limit, and the presence of the
25 vitrophyre, which run into over here.

355

1 The other things that come out with
2 regard to the usable area is although this area here
3 meets the criteria for being able to be used, you
4 remember we chose not to use this portion of the area
5 for this design on the basis of the lateral extent of
6 the drifts being limited to about 3,000 feet. We
7 chose to limit the use of this area because it is
8 just impractical to develop such a small portion of
9 materials.

10 The question then that arises is
11 related to in any underground development, you end up
12 with uncertainties with regard to what you're
13 actually going to encounter underground, questions
14 with regard to how much flexibility do you have
15 within your design? One of the questions obviously
16 would be with regard to Ghost Dance Fault, and what
17 would be its impact.

18 MR. CORDING: Joe, you're also avoiding
19 that area, that high lithophysae section, you're also
20 avoiding that area because of the abandoned wash
21 faults; is that correct?

22 MR. DEERE: That curved --

23 MR. TILLERSON: When the usable area --

24 MR. CORDING: In the lower right-hand
25 side.

1 MR. TILLERSON: This particular region
2 down in here is the area from Mike's view graph in
3 which there were the abandoned wash fault regions.
4 That was with regard to defining the usable area
5 itself. The green being where the repository drift
6 is now, saying we will stay within the area defined,
7 but we may not use all of that.

8 The only point I was making from a
9 repository standpoint, you just don't want to go into
10 that region. This area with the different
11 ventilations is feasible. But for purposes of this
12 design, we chose to limit it to 3,000 feet. With
13 that constraint -- and by evaluating the extent over
14 here and other areas with that constraint, we were
15 still able to meet the basic design requirements to
16 be able to store 70,000 MTU.

17 So it is a question that the current
18 design meets the constraints, but yet recognizes that

19 there may be uncertainties that would cause you to
20 lose some of the ground in the future, as well as
21 there's a characterization program that may open up
22 additional areas to be able to be used, and that's
23 where I'll go with the next particular view graph.

24 We wanted to ask ourselves what
25 flexibility would we have if the designers can

357

1 provide some input to the site characterization
2 program in terms of exploring additional areas to
3 give us the flexibility to assure ourselves we can
4 meet the 70,000 MTU, or to evaluate whether or not
5 you could expand to beyond 70,000. The question was
6 from a designer's viewpoint, what areas would you
7 like to explore, and why? And what aspects of those
8 areas would you like to explore?

9 Take, from a repository designer's
10 standpoint, the water table -- and you've not heard
11 me talk much about the constraints associated with
12 the water table. It's far beneath us; it's not
13 something we worry about. That's not to say it's not
14 something of concern with regard to the usable area
15 because you doesn't have an area that can't have
16 adequate performance. But it's not a major concern
17 relative to the design.

18 MR. DEERE: You're not taking real
19 serious, are you, the 3,000-foot limit on the
20 ventilation? Because we have so many constraints
21 that are natural that we have to stay away from, it
22 seems to be that that's a little bit artificial.

23 MR. TILLERSON: I totally agree with
24 you, and it was done for purposes of this design. Is
25 it desirable? I tend to use the word "desirable"

1 relative to that particular constraint, just for the
2 reasons you're talking about. There are many other
3 ways you could actually do that, and certainly then
4 we would have no reason not to be able to use this
5 particular type of area.

6 If you're looking at in the contingency
7 or flexibility, that's certainly an option. It's
8 some of the last regions that would be developed, so
9 you would definitely have a lot of information about
10 usability of those areas, given that it's a few
11 panels in that area. You could do some special
12 things if you needed to with regard to ventilation.

13 So no, we do not consider that at all a
14 hard and fast type of constraint. But for purposes
15 of the design, we did attempt to abide by it, and
16 were successful in being able to do that.

17 MR. SINNOCK: Let me follow up on that

18 question. I don't know if it became clear. This
19 study was applied to the defined primary exploration
20 area which was defined by the geologist, which
21 includes the line sort of corresponding to the
22 Abandoned Wash Fault.

23 MR. TILLERSON: Right. We then look at
24 the information we would like to see in order to
25 reduce the uncertainties with regard to the

359

1 repository.

2 The idea is would drill holes out here
3 help you a lot in reducing your uncertainties with
4 regard to where the lithophysae is? The answer is no.
5 We'd like to have information up in here with regard
6 to the extent of the lithophysae; how far down it
7 goes to some good stratigraphic contact points there

8 that are with regard to how you can possibly use that,
9 can you not use it, to answer that particular
10 question.

11 We would also like to have some
12 information on the lithophysae itself and what its
13 structural properties are much more so than the
14 eleven tests that currently exist. And the question
15 is, are you going to drill holes up in this area to
16 be able to get that? The answer comes back no,
17 you're not going to get drill holes. We will not get
18 cores from drill holes from which you will be able to
19 determine the structural compressive strength of the
20 lithophysae material.

21 We are talking about voids, holes that
22 are of the order of larger than a half dollar or so,
23 depending upon the particular region that you're in.
24 And so, from a two- or three-inch core, you're not
25 going to be able to do that testing. That's a given.

1 That's one of the reasons that, in the
2 evaluations of the exploratory shaft facility and
3 what information do you really need from that, that's
4 one of the reasons for the upper breakout room in the
5 high lithophysae region there, is to be able to
6 obtain samples from that to understand the behavior
7 of that type of material, in the event that it would
8 be encountered as you are developing your repository.
9 We'd have those answers available.

10 So information that can help us with
11 regard to potential expansion areas are related to
12 lithophysae in this particular area, and are related
13 to the potential use of this particular area down in
14 here. Not going all the way down into the area of
15 the abandoned wash, but possibly focusing upon can we
16 use this particular area. That is, from a repository

17 designer's viewpoint, what would help us the most
18 with being able to develop the repository.

19 Now, what difference would it make is
20 the idea that when you are looking at trying to fit
21 the repository with your constraints into here, if
22 you can raise the boundary of the top portion of your
23 section here, then you can end up with an overall
24 lesser grades within the repository, hence, a
25 desirable feature relative to the operation of the

361

1 equipment from the safety as well as from the
2 dependability/reliability type of standpoint. So
3 that is important information to be able to obtain.

4 Obviously there's other concepts you
5 could go to there. You could go to a multi-stepped
6 repository and several other types of things. One of

7 the things that is not obvious from what I have
8 talked about thus far, is the idea that we have also
9 considered some constraints with regard to what is
10 desirable from a water control type of standpoint.
11 And that is that with the development of a repository,
12 we have also indicated that from a -- we are in an
13 unsaturated environment, but if there is to be free
14 water that were to come in there, what would you like
15 to do with that water.

16 And from a ceiling perspective, what we
17 would like to do is to say we would not like to have
18 water that comes in from some of your mains or from
19 your perimeter drift or access drifts or any of that.
20 We would not like to focus that water into the rooms
21 in which the waste is emplaced.

22 So some of the constraints in the
23 design are that you would slant your drifts or you'd
24 establish your grades such that your drainage would
25 be from the emplacement rooms into your panel access

1 areas, and into ultimately your perimeter drift or
2 across the remaining perimeter drift down such that
3 this would be the overall low point of the repository
4 design. It's a passive feature that we think is
5 reasonable and prudent to put in.

6 So given the desires of the designers
7 then, what that is translated into the site
8 characterization program is our recommendation that
9 the preferred expansion areas be identified as the
10 region to the southeast, there's a projection either
11 to extend further south or to stop here; or the
12 region up in these are 2E's and 2A's. That's nothing
13 other than just a designater. There's no particular
14 meaning to those designations.

15 But this is a figure directly from the

16 Site Characterization Plan which we have made known
17 the desires from a repository design that says in
18 order to assure flexibility in your development,
19 you're developing the additional -- qualify your
20 additional ground for possible use as a repository.

21 Now, how does this impact us with
22 regard to the perimeter drift development? The idea
23 is it impacts you very directly in that if you start
24 your perimeter drift and you develop it in this
25 region, you need, before doing that, to have

363

1 sufficient stratigraphic control such that you know
2 where your perimeter drift really should be. Same
3 thing down in this particular area.

4 And so, this can lead to some
5 prioritization, with regard to the timing of the

6 development of the drill holes within the site
7 characterization program, is to be able to get this
8 information at some point in time before you need to
9 make a decision. And particularly, if you begin to
10 consider the idea of early development of a perimeter
11 drift, the idea that stratigraphic control in these
12 particular areas needs to be much more firmly
13 established than it currently is.

14 The other point I would add is
15 particularly with regard to lithophysae, it has to
16 come from core type of information, not from logs or
17 other things or from non-cored holes. And the reason
18 is it's very difficult to pick up that transition in
19 a meaningful way from non-cored holes.

20 MR. DEERE: Was there any indication in
21 any of the geophysical logging? Could you
22 distinguish between the rock that had the lithophysae
23 and those that did not?

24 MR. TILLERSON: Ernie?

25

MR. HARDIN: The compensated gamma-

364

1 gamma density tool does show some lineal response.

2 MR. TILLERSON: It shows some response.

3 It's a question of without the cores from that, would

4 you be willing to make your decisions relative to

5 repository. And the answer is it gives you

6 correlation, but it's not sufficient by itself.

7 MR. DEERE: Is the extension of the

8 Ghost Dance Fault, as shown there, also the Ghost

9 Dance Fault? Because I don't think I've seen this

10 one before.

11 MR. NORTH: You mean the south?

12 MR. DEERE: Yeah.

13 MR. TILLERSON: I suspect that is

14 cartooning with regard to the artist here, but Bill,

15 help me.

16 MR. WILSON: I'm not sure that that's a
17 named fault. We'd have to look at the geologic map.

18 MR. DEERE: Because that makes the
19 Ghost Dance look a little --

20 MR. WILSON: Yes. I think the gap is a
21 real --

22 MR. TILLERSON: I'm not sure if this
23 connection is as strong as it is. I would much more
24 rely upon this to take a look at it than I would let
25 a design artist take a shot at this.

365

1 MR. VOEGELE: Joe, I have the numbers
2 for Dr. Deere on the strengths of the material if you
3 want.

4 MR. TILLERSON: Okay. The physical

5 probability intact rock mass the Tsw1 is the
6 designater for the lithophysal region.

7 MR. DEERE: So about 30 megapass?

8 MR. TILLERSON: No, let's see. The
9 compressive strengths of 18 or so, of 18 megapass.
10 And again, recognizing the limited number of samples
11 that that is taken from.

12 So we see that site characterization
13 information that is planned to be obtained could
14 result in some changes in the future designs. So
15 please don't consider that the design, as currently
16 configured, that the actual location of the lines,
17 the actual sizes of the drift, are really indeed what
18 physically will be built or must be built in order to
19 do this.

20 This is a conceptual design, and
21 information could end up changing the location of
22 perimeter drifts, as well as their elevation. So
23 early development of any type of perimeter drift

24 would certainly have to consider the sequencing
25 associated with when would you get enough information

366

1 in order to make that particular decision.

2 Or else, if you went ahead with an
3 early decision and, for example, chose a perimeter
4 drift coming in this particular direction, it could
5 certainly complicate life for the repository
6 designers in terms of how to put in some sort of
7 drift into the repository, or how to stand off from
8 it with the development of the repository that has a
9 drift at some unique or odd angle relative to the
10 others.

11 The next series of view graphs that I
12 have, they're on why is the perimeter shaped as it is,
13 currently planned sequence of the development for the

14 repository. That's what I've covered verbally. I
15 just wanted to include those into the view graph
16 package to reiterate what I had done, such that you
17 wouldn't have to just be depending upon notes that
18 had been taken. So some of the principal things
19 there for the next two view graphs I will not discuss.

20 But I will reiterate just a bit with
21 regard to the principal uncertainties in the design
22 related to early development of the perimeter drift
23 are the location of the boundary between this Tsw1
24 and Tsw2; the non-lithophysal versus lithophysal
25 regions. Limited stratigraphic control available

367

1 from current surface boreholes, and that the site
2 characterization could allow both lower grades, as
3 well as changes in physical elevations of those

4 drifts.

5 There's also some difference with
6 regard to the perimeter drift regarding what is your
7 projection to depth of, for example, a Solitario
8 Canyon feature or other faults that are along the
9 boundaries.

10 MR. DEERE: Well, I think that's pretty
11 persuasive there, that an early drift could not or
12 should not precede your stratigraphic boreholes that
13 you have laid out now. Because the stratigraphic
14 boreholes and position of those contacts are going to
15 affect your repository greatly.

16 MR. TILLERSON: Very definitely. They
17 certainly will do that. In my mind it's a question
18 of when do you obtain the information, as opposed to
19 do you.

20 MR. NORTH: But it's also true that you
21 could not possibly start the perimeter drift for two
22 or three years after the exploratory shaft

23 characterization starts anyway. You've got to get to
24 your exploratory shaft.

25 MR. DEERE: Sure.

368

1 MR. TILLERSON: Just to reiterate on
2 that, the development in that area and the extent of
3 maturity of the designs themselves, with regards to
4 the way in which the ventilation systems would be
5 working, the 30,000 feet, how real, what are the
6 other options there. How would you go about trying
7 to develop to the north in that upper left-hand
8 corner of the region. And so, some of the things
9 that are related to maturity of the design itself.

10 So having discussed the viability of
11 integration with the repository, which I think is the
12 principal concern or principal engineering

13 consideration that you would have to take into
14 account, let me finish off the talk with talking
15 about feasibility of using current configuration to
16 support that.

17 In other words, do we have the
18 flexibility to be able to support additional
19 developments, or what types of consideration would
20 come in, relative to data quality and work safe
21 working environment and the feasibility for expansion
22 of the ESF, not feasibility of expansion of the
23 repository.

24 And again, this is just the idea we
25 need to understand the possible construction-to-test

369

1 interference-related concerns, and how much
2 constraints on the additional exploration would we be

3 developing as a result of a commitment to a perimeter
4 drift.

5 With regard to worker safety
6 considerations, the principal concern is regarding
7 using single entry heading, relating to personnel
8 evacuation concerns. I say this relative to the
9 current perimeter drift, as identified in the
10 repository design, is only a single heading because
11 it's only used for a single return type of situation.
12 Obviously, for purposes of characterization and
13 safety aspects associated with that, you'd look at
14 two things: Type of headings, or you would need
15 additional access or additional shafts or ramps to be
16 able to do that.

17 MR. CORDING: Of course, there's a lot
18 of projects in the western United States where access
19 is through a single heading five miles back.
20 Sometimes ground is much more difficult than anything
21 that would be anticipated here.

22 MR. TILLERSON: That's true, and
23 there's no reason to say you can't do it. But I'm
24 saying with regard to considerations you would look
25 at the feasibility is, is D.O.E. willing to develop

370

1 that type of a heading? And recognizing it is
2 feasible, it has been done.

3 But the question is would you prefer to
4 do it that way? You would have a direct decision
5 here because it's single heading, dual heading, or do
6 you put another access in in some way for emergency
7 drifts. Exactly how you do it is considered.

8 MR. DEERE: I agree with that. I don't
9 think it would turn out to be much of a restraint.

10 MR. TILLERSON: With regard to the
11 construction-to-test --

12 MR. STEIN: Joe, I might mention that
13 currently we have certain D.O.E. orders that do
14 constrain us. It isn't the orders. We could address
15 the orders. But they do apply for the development of
16 underground facilities. That's in addition to all
17 the other requirements that we have, like MSHA,
18 NERSHA and the rest of them. But we do have D.O.E.
19 orders that provide certain constraints on
20 underground faults, in terms of worker safety.

21 MR. SALTZMAN: Ralph, do we not adhere
22 to a California mining requirement?

23 MR. STEIN: That's part of the D.O.E.
24 order. The order specifically calls out the
25 California Mining Code.

371

1 MR. DEERE: And does that offer a

2 constraint to a length of a single heading?

3 MR. STEIN: Well, it doesn't call that
4 out specifically. As I recall the code, it just
5 talks in terms of what kinds of capabilities do we
6 have to have underground in order to provide
7 protection for worker health and safety. We would
8 have to look specifically at what strengths, if any,
9 would be applicable to this. And of course, you can
10 always appeal those, whatever constraints there are.

11 MR. TILLERSON: In the spirit of the
12 conservative program, a little bit of background.
13 The conservative program -- and correct me if I'm
14 wrong, Ralph, I believe it is that California code
15 that led us to the idea of putting in the second
16 shaft.

17 I would also point out that there are a
18 lot of places with a lot more extensive underground
19 development that has been done off of them that do
20 not have a second shaft as an emergency egress means.

21 So we would have to deal with the question of the
22 spirit of that, and how it would be interpreted in
23 this particular thing. Feasibility of doing it from
24 an engineering standpoint, yes.

25 From a posturing with regard to the

372

1 regulations or abilities to meet the regulations,
2 that would have to be considered. I do not intend to
3 say at all that the other people are operating
4 outside of existing regulations.

5 To comment just a little bit about the
6 current layout and how we've separated the principal
7 experiments from the --

8 MR. GERTZ: Let me just add one thing
9 on that Joe for a matter of perception because I deal
10 with that a lot here in Nevada as the project manager.

11 And I think you all might recall a recent nuclear
12 waste accident in Germany, where they had a mining
13 accident. They didn't have the proper shoring going
14 through the water table, and it killed a miner. It
15 was called a nuclear accident.

16 Shut down the experimental program for
17 a year and a half -- maybe it's still shutdown, as
18 Jerry tells me. It's that kind of perception that we
19 as managers feel we couldn't deal with.

20 So if we're looking for one of two ways
21 to go, we're taking the conservative way for not only
22 worker safety, but for almost anything we do. And
23 that's some of the outside effects that we've asked
24 the designers to deal with.

25 MR. TILLERSON: With regard to

1 construction-to-test interference, very briefly I'll
2 show you the current layout and how we've separated
3 that within the idea of further revisiting of that
4 would be required if we were looking at a sixfold
5 increase off of the current development. In
6 particular, if you look at this particular figure and
7 notice that you had had a figure 4.7 out of the
8 overview report, is also a good one here.

9 The point I'd make here is that we have
10 intentionally, in the design, the exploratory shaft
11 designers -- which, by the way, the exploratory shaft
12 designers the H & N is surface facilities, Fenix &
13 Scisson in underground facilities design. Sandia is
14 not responsible for that design, but we are working
15 very closely with the people there with regard to
16 integration of repository.

17 That's why, when you look at the drifts
18 that are planned, they are not your most direct
19 distance to the Ghost Dance Fault or the most direct

20 distance to some of the structural features. They
21 are integrated with the repository, and are shaped
22 the way they are because of the repository design.

23 This is the feature here in which you'd
24 be dumping muck, loading it into the ES-2 and
25 carrying that to the surface. Hence, what we have

374

1 done is for the experiments that are most sensitive
2 to the construction-related types of activities -- in
3 particular the waste package tests that are over here,
4 the hydrologic test, the heated block types of test --
5 we have separated those physically from the area in
6 which the muck haulage is concerned.

7 The closest area related to muck
8 haulage it is a non-heated test in which you're
9 basically looking at the excavation effects in a

10 drift. It is the construction of this drift that
11 you're monitoring from these two drifts that are on
12 the side of it. So that's a monitoring type of test
13 that we believe, given that you can install your
14 instrumentation within a few feet of the face of your
15 drifts, it's not likely to be impacted by the mucking
16 operations that would go on. But the muck from the
17 development currently would be hauled in these
18 particular areas, and then dumped into this area.
19 And that's the part that the designers have very
20 wisely separated from the testing.

21 The only thing that might -- just to
22 alleviate curiosity, this particular drift here is
23 the one that they talked about yesterday that is the
24 demonstration breakout room. It's the first room
25 that you develop after hitting down there with ES-1

1 to be sure that your orientations and structural
2 support system and all are okay. But no long-term
3 continuing type of testing can be done in this
4 particular area. So those are some of the thoughts
5 that have gone into the actual local layout.

6 The question you would have to address
7 is, is your muck haulage capability within the shafts
8 capable of being able to handle the types of -- the
9 quantities that you would be developing from a
10 perimeter drift? And is this a sizing question,
11 timing type of question that you would end up with
12 there.

13 And then also, with regard to would you
14 increase, by increasing the amount of excavations to
15 the project by sixfold as compared to the long
16 lateral drift, would you be increasing your chance
17 for construction-to-test interference? I doubt that
18 that would end up being a controlling factor.

19 MR. CORDING: Is that intended as the
20 muck haulage also for the development of the facility?

21 MR. TILLERSON: No. There's very
22 little use in muck haulage for the development of the
23 facility. What you're doing is you have the two
24 ramps that come down. You have the tuff ramp --
25 excuse me. You have the waste ramp in which you

376

1 would physically drive the waste underground, and you
2 have the tuff ramp, and it is a ramp access for
3 all-inclusive there.

4 With regard to the flexibility of
5 additional exploration from the exploratory shaft,
6 how much would you constrain that by a decision
7 relative to the perimeter drift? And it's the idea
8 that you would have to evaluate, obviously, your

9 capability of your current system, muck removal, your
10 ventilation systems, the sizes of your fans, et
11 cetera. How well you could do that with regard to
12 the perimeter drift development.

13 A piece of information that we offered
14 before is the Title 1, during the ESF Title 1 design,
15 a study was made by the architect-engineers on the
16 possibility of drifting to the south. The study was
17 done from the standpoint of do we have sufficient
18 flexibility in the design to be able to accommodate
19 that in some reasonable type of manner. They looked
20 at drifting of an additional 10,000 feet, and I might
21 say that the 10,000 feet started from this point here.

22 So it's an additional 10,000 feet to
23 the south, along the mains, if you will, to the south.
24 And it was dual heading type of development, and the
25 analysis indicated that yes, you do have the

1 flexibility within the current design to be able to
2 accommodate that.

3 The question that you would address
4 would be if you accommodated the perimeter drifting --
5 roughly 30,000 feet or so -- would that be
6 essentially all that you could do? Or would you be
7 giving up something else. That's just a question
8 that you would have to look at in terms of priorities,
9 not to say that we necessarily would preclude.

10 Let me close with just a summary view
11 graph, in which I will just identify the principal
12 points that I made before, and that is, the timing of
13 the perimeter drift, it's important concern. And in
14 particular, additional data would be needed and
15 additional design considerations prior to making that
16 particular decision.

17 Feasibility of using current ESF

18 configuration would be related to those things that
19 probably would not be the controlling factors nearly
20 so much as the timing relative to integration with
21 the repository.

22 Any questions that I might be able to
23 address?

24 MR. CORDING: If you were to find it
25 necessary to avoid, for example, the Ghost Dance

378

1 Fault -- and I know there's different ways of
2 avoiding it. One is not emplacing waste at that
3 location, another is not to penetrate it or minimize
4 the penetrate; just for access. But if you had to do
5 something like that, looking at the layout of your
6 facility, how would the facility, your mains and
7 other features, be accommodated?

8 MR. TILLERSON: Use that view graph as
9 a point. Let me also introduce to you Jim Grenia
10 from Quade & Douglas, who is one of the principal
11 designers in the underground aspects. Jim, feel free
12 to jump in with me on this.

13 In my mind it depends upon what point
14 in time you learn that information. If we postulate
15 that you learn that you need to stand off from a
16 certain aspect of it after you develop a particular
17 perimeter drift, then you're talking about how many
18 emplacement rooms, given that you have your panel
19 going through there, how many emplacement rooms might
20 you want to stand off.

21 MR. ALLEN: What's the approximate
22 trace of the Ghost Dance Fault on this right here?

23 MR. VOEGELE: Joe, I have an overlay
24 that's just about the right size of that.

25 MR. TILLERSON: You've got one, Mike?

1 Let's see, how close are we here? Let me estimate
2 and then have some of you guys that really know,
3 something about like that? Let's see. We can look
4 at this one with a slightly different scale.

5 Remember, we're talking about this particular
6 dedicated testing area up in this region, and we're
7 talking about this comes out to the target region.

8 MR. DEERE: Can you rotate it 90
9 degrees again?

10 MR. TILLERSON: Right. So there would
11 be obviously other options, depending upon what type
12 of information you found. If it were major water
13 conduit then you've got to decide you don't penetrate
14 it at all with the repository.

15 Or, do you want to have separate
16 accesses coming in and develop on one side of it

17 versus developing on the other side of it, and no
18 firm planning with regard to how you would handle
19 this. If it's just a construction problem, you don't
20 believe it's a water problem, that's a different
21 story.

22 The idea is you could go ahead and
23 construct your haulage ways, panel access to get
24 through that. Shore those up very heavily but avoid
25 it with some physical standoff from your emplacement

380

1 drifts. A lot depends on what information you would
2 find out, particularly related to water or non-water.

3 MR. ALLEN: But it's nevertheless true
4 that the great bulk of the underground storage area
5 is the opposite side of the fault from the bottoms of
6 your shafts.

7 MR. TILLERSON: You're saying that this
8 area is far greater than the area that's up in here?

9 MR. ALLEN: At least that's the way
10 it's sketched, yes.

11 MR. TILLERSON: That's correct.

12 Jim?

13 MR. OWENS: Just a point, Joe, I think
14 when you said about the development in the test
15 facility. You mentioned that the DBR, that it would
16 be done once ES-1 is down. I think the plan is to
17 have it done as is to sunk and be finished by the
18 time --

19 MR. TILLERSON: Sure. The first shaft
20 that reaches the repository --

21 MR. GERTZ: Which is ES-2.

22 MR. TILLERSON: -- which is ES-2, would
23 be the one that you'd do the demonstration breakout
24 from. Jim, you're correct. I was incorrect in what
25 I said.

1 Mike?

2 MR. VOEGELE: It might be worth
3 pointing out there are alternative layouts to the
4 original conceptual design under the conceptual
5 design report, some of which might -- I believe it
6 was Dr. Allen's question -- might look like they
7 could facilitate development of the repository from
8 the western side of the Ghost Dance Fault more
9 readily than the one we have on the board right now.

10 MR. VOEGELE: Jim, do you have anything
11 else?

12 MR. GREINIA: I was just standing up so
13 I could hear the question.

14 MR. TILLERSON: The question is how
15 might you accommodate something you could find out

16 about Ghost Dance fault, how could you accommodate
17 that in the design if you had to approach it
18 differently?

19 MR. GREINIA: Presently we're not
20 expecting any water in the faults. It's basically an
21 engineering problem to drive through and establish
22 access. Then we would plan to lay off either side of
23 the fault and go right ahead with emplacement.
24 Because design is flexible enough that all you'd need
25 is access across.

382

1 MR. TILLERSON: That's the assumption
2 in the current design, and there are other options,
3 as Mike mentioned the other types of layouts that you
4 could --

5 MR. CORDING: When in the program would

6 you first drive across, say in an east/west direction
7 fully across the site in what was described in one
8 figure as the primary area? You talk about driving
9 the perimeter drift and driving the mains. When do
10 you, in the plan at present, when do you first drive
11 east/west across the full site?

12 MR. TILLERSON: The first time you
13 would have in the current plan east/west across the
14 whole site is when you would begin to develop these
15 panels in this area. So obviously you could
16 develop --

17 MR. DEERE: Turn north up so we can
18 look at it like that. Yeah.

19 MR. TILLERSON: You would develop --
20 you could, if you wanted to, modify your sensitivity
21 to develop one or several of those early in the
22 development. There's nothing that would necessarily
23 preclude you from doing that. Just that the current
24 design, as far as the amount of detail that was in

25 there, we looked at doing the development in that

383

1 type of a sequence.

2 MR. CORDING: If you decide to change
3 the orientation of the mains, that would be done
4 during your preliminary or your exploration phase in
5 the vicinity of the northeast corner, and the drifts
6 that you had planned that extend out to the Ghost
7 Dance; is that correct?

8 MR. TILLERSON: Jim?

9 MR. GREINIA: I might add this: That
10 during the ESF portion of the design, when you do the
11 demonstration breakout, that may change your
12 orientation of the whole repository. When you cut
13 that first room off the shaft, you may elect to reorient
14 your lanes.

15 MR. TILLERSON: Basically what we're
16 doing, we're buying into a progressive type of
17 approach there, and that is that when you develop
18 this room, that is the first room type of information
19 at the repository horizon that we will have. You
20 will look very closely at that before you decide
21 which way you're going to actually go with these
22 particular things. Assuming success with the first
23 one, our intention would be to drive these types of
24 things, and obviously using this information as
25 you're developing --

384

1 MR. DEERE: What information does that
2 give us on the really structural things that may
3 cause reorientation of the drifts and reorientation
4 of one corner versus the other, et cetera? None at

5 all. It just might --

6 MR. TILLERSON: Not from the major
7 structural features. It's only from the mining
8 support, you're correct.

9 MR. DEERE: And that we know can be
10 done. It's just a question of a little more, little
11 less. It's not a discriminatory item at all. As I
12 see it.

13 MR. VOEGELE: Dr. Deere, yes, it is.
14 There are requirements in 10 CFR 60 that we evaluate
15 alternatives for things like the layout of the
16 repository design and select the one which gives us
17 the highest confidence or the best isolation and
18 containment situation. And so, one of the reasons
19 you would do something like this layout experiment,
20 the demonstration breakout room, would be to find if
21 there were in fact differences in the fracture you
22 might introduce in the rock mass as a function of
23 which way you laid out the drifts.

24 MR. TILLERSON: But we're talking small
25 degree. You're talking five, ten, some sort of

385

1 orientation there.

2 MR. DEERE: And we're talking about
3 something that would mean a major change; that is the
4 structural features and whether it's water bearing or
5 potentially can be water carrying if the climate were
6 to change or we have perched water tables that can
7 drain into it. Really something that is a very great
8 restraint if it has certain adverse characteristics.

9 MR. TILLERSON: Yes. It's that type of
10 thoughts that have led us in the exploratory shaft
11 program. I believe the proposal is to drill in front
12 of the development into those areas, the drill hole
13 wash structure to see if it has large amounts of

14 water.

15 Then the question is do you really want
16 to physically complete your drift all the way in
17 through. The answer may be yes, in order to
18 understand it, we do. Or no, it's more conservative
19 to stand off from it. So that type of information
20 would be done relative to particularly the drill hole
21 wash structure, as well as I think it's a matter of
22 course for most of the exploratory drilling.

23 MR. DEERE: Could you go back to the
24 drawing, the map you had just before this? Right.
25 Now, could you mark the three exploratory drifts from

386

1 the shafts? I think the scale would be of interest.

2 MR. TILLERSON: That one I took too

3 long.

4 MR. DEERE: I like that a little bit
5 better. I thought we had already made some points
6 this morning.

7 MR. NORTH: Let's mark the southern
8 extension on that, just for comparison also.

9 So the discussion about doing more
10 drifting up to another 10,000 feet, that's down that
11 main shaft?

12 MR. TILLERSON: The part that was
13 evaluated in the Title 1 study, and I don't know for
14 sure which one of those three mains, but the scale
15 I'm drawing here is that. That was to evaluate the
16 feasibility from an engineering standpoint using the
17 facility to do that.

18 And one of the things with regard to
19 this drifting is that from the new types of
20 structures that you would be encountering, it's not
21 obvious from the information you would be
22 encountering new types of structures. We would not

23 necessarily be encountered by one of these, but in
24 terms of the amount of exploration you have done on
25 the site, quite clearly there is a difference.

387

1 MR. CORDING: At the end of that you're
2 trying to get another one of those fault systems
3 there; is that correct? Or not? You're just trying
4 to get through that facility, but not to those other
5 areas outside. Like the abandoned wash and --

6 MR. TILLERSON: No, in that we did not
7 look at physically going further down and --

8 MR. CORDING: But then the decision to
9 go that additional 10,000 feet would be based on what
10 type of information?

11 MR. TILLERSON: The decision to do
12 additional drifting in whatever direction might be

13 appropriate is based in part upon -- and Mike, you
14 help me with the characterization program, but in
15 part based upon the stratigraphic information and the
16 other information you obtained from your
17 surface-based drill hole, as well as in some
18 instances, how far out you go to hit the Ghost Dance
19 Fault if the Ghost Dance Fault is recognizable and
20 there? That's the question. How far before you
21 decide it's not there? How far before you decide
22 well, let's keep going anyway. Those types of
23 questions are things that will be decided there as
24 part of the characterization program.

25 But in general as I see it, and I think

388

1 it's consistent with what's in the SCP, the
2 surface-based drilling program in some of the areas

3 will influence what information is found there. For
4 example, if the stratigraphic information from this
5 particular area could not be correlated with what we
6 think is currently there, that might be a reason for
7 some additional drifting toward the south, or
8 additional boreholes toward the south, depending upon
9 which way you could best characterize whatever
10 uncertainty that the new site characterization
11 information had given.

12 Going this direction, there's not a lot
13 that would lead you to going long distances in that
14 direction, that I can fathom. Going this direction,
15 the idea of, Is the drill hole wash structure real in
16 terms of its hydrological implications in the site is,
17 from what I've heard from the hydrologists, a very
18 real question. And then it would be turned over to
19 the engineers of could you develop your facility in
20 that particular area. And then the question is
21 obviously further to the west or further to the south.

22 MR. DEERE: It would seem to me like
23 the minimum you would want to do with those drifts
24 would be to extend where you turn and go out to the
25 left. Is to come right on down the main drift until

389

1 you cross the Ghost Dance Fault a second time. Could
2 you dash in a line across there for me? Just bring
3 it on down?

4 MR. TILLERSON: Okay. You're talking
5 about as a minimum do --

6 MR. DEERE: Right. Little farther.
7 Great. Now I think you are really looking at what I
8 consider a key structural question.

9 MR. TILLERSON: That's correct. Let me
10 also put in another consideration, and that is if you
11 were out this far and there may be possibilities that

12 you would find it advantageous to go with some of
13 your emplacements. Short distances or something like
14 that. There are a lot of those types of questions
15 that will undoubtedly be addressed.

16 MR. GERTZ: What's the significance
17 about being able to see the Ghost Dance Fault at the
18 repository horizon? What do our geologists say?
19 50/50?

20 MR. DOBSON: The surface exposure of
21 the Ghost Dance Fault is very small, and there's only
22 a few -- in fact, practically impossible to pick up
23 when you walk across the surface and it's recognized
24 primarily because it's a short visible reach, and
25 so it has geomorphic expression. But it's not

1 entirely -- there's certainly not a large broken zone

2 around Ghost Dance Fault. But because of the
3 exposures on the sides of those hills are covered
4 with some rubble; if not, we don't have a clear
5 exposure of the surface. So I guess it's kind of, as
6 Joe characterized, it's 50/50 what we'll find when we
7 get down.

8 MR. NORTH: It shows up because it
9 erodes more easily when rocks are on both sides?

10 MR. DOBSON: Yes. Whatever that
11 translates into, underground.

12 MR. SINNOCK: Actually the offset
13 increases to the south, and as you go to the north,
14 it pinches out at least in terms of surface
15 expression. So where the drift is, I don't know.
16 The offset may be in the orders of a few to ten feet,
17 it increases to a maximum of maybe 150 feet about its
18 midpoint.

19 MR. CORDING: It seems to me that
20 there's also advantages and you're not just

21 searching -- you're searching to try to find what
22 other conditions across the site. If you don't find
23 faults across the site, that's wonderful. Or if you
24 find minor features.

25 A lot of what you have at the point

391

1 before you drift across are interpretations based on
2 surface mapping, and based on, again, interpretations
3 from vertical boreholes and offsets, which is not a
4 direct indication but an interpretation of the
5 possibility of faults.

6 And if one goes across this site, you
7 actually get down there and see what the conditions
8 are, and you have essentially proven across that zone
9 what some of the anticipated conditions are based on
10 interpretations. It's specific site information that

11 you won't have with the present plan until you are
12 actually drifting out with your emplacement, to get
13 ready to emplace the waste.

14 MR. BLANCHARD: This happens to be the
15 most appropriate air photo we have at hand right now
16 to bring out the point I think that you were just
17 making. The general consensus has been I think, from
18 the Scott and Bonk study, that the Ghost Dance is
19 probably an extension of the Abandoned Wash Fault.

20 There's a lot of structural feature
21 that shows up here, as you can see by the shadow
22 produced by the sun angle, that this is where the
23 Abandoned Wash Fault is. The exploratory shaft is in
24 Coyote Wash right up about here, and so you can't see
25 any superficial expression from an air photo of the

1 Ghost Dance Fault.

2 MR. ALLEN: We were shown in Washington
3 a large scale photo that had very clear geomorphic
4 control along the fault.

5 MR. SINNOCK: I think the one Joe
6 showed you, you could see the fault.

7 MR. BLANCHARD: Well, I don't believe
8 that's the case. A number of us geologists have been
9 out in the field -- Dave, you've been there quite a
10 few times. I've walked across what's been mapped as
11 the Ghost Dance Fault a dozen times and never seen it.
12 I'm not saying it's not there. I'm saying it takes a
13 very well trained eye to see it, and it doesn't show
14 up all that readily from aerial photos.

15 MR. SINNOCK: At the location of the
16 shaft. Further to the south there's an actual
17 surface expression.

18 MR. BLANCHARD: As you go south, the
19 displacement increases. But as you go north,

20 placement drops off to zero.

21 MR. SINNOCK: If you put up the other
22 photo I think we can see it.

23 MR. ALLEN: It's a fault line start,
24 but not a start, I think.

25 MR. SINNOCK: Right here. This is

393

1 Ghost Dance.

2 MR. DEERE: And the shaft there is --

3 MR. SINNOCK: Coyote Wash is here.

4 There comes a drill hole. Looks like here.

5 THE COURT: Just up the road from the
6 pan.

7 MR. SINNOCK: This is it leading into --

8 MR. BLANCHARD: Right there is the
9 exploratory shaft site. I think you all are

10 misplacing an air photo feature with the Ghost Dance
11 Fault in our discussion. I think we have to
12 overlay -- I don't think that's it.

13 MR. DOBSON: That is it. That is the
14 feature that is mapped as the Ghost Dance Fault.
15 When you walk across it in the field it is difficult
16 to find, but there is a significant geomorphic
17 expression. And that's what Scott said. And the
18 apparent offset increases to the south.

19 MR. ALLEN: There are plenty of places
20 you can walk across the San Andreas Fault with no
21 impression under foot. But on an aerial photograph
22 it's quite clear that something is there.

23 MR. STEIN: I don't know whether it's
24 worthwhile to interject at this point, except it does
25 remind me of an experience that I had out here about

1 a year ago. I was interested in going out and
2 looking at some of the faulting, and there were two
3 geologists from the project that accompanied me.

4 We got to a point and one of them
5 pointed out, There is one of the faults I was telling
6 you about. I looked and I said well, I don't see it.
7 And the other geologist said Well, there isn't any
8 fault there.

9 Then the second geologist said Now, on
10 the contrary, the fault is over there, and I looked
11 over there and I again didn't see the fault. And the
12 first geologist again said There's no fault over
13 there. The fault is over there. And I just kind of
14 backed away from it all. But that's what this
15 situation reminds me of.

16 MR. CORDING: I think that also brings
17 up a point that when you get down and drive across
18 these things, then you have a chance to physically

19 test the ground. I know there are other levels
20 you're concerned about in terms of the flow of water.
21 But you physically test across your site and check out
22 the things which are basically hypothesis at that
23 level, in the facility. This is hypothesis now, and
24 a lot of it will remain hypothesis until you've
25 actually drifted across.

395

1 MR. ALLEN: Also, the photograph we
2 were shown in Washington had a very clear lineation
3 on it. It demanded some sort of geologic explanation.

4 MR. BLANCHARD: We are going to take a
5 short break now.

6 (Thereupon a brief recess was
7 taken, after which the following
8 proceedings were had:)

9 MR. BLANCHARD: We would appreciate it
10 if everyone would take their seats so we can finish
11 up this session.

12 I only have two view graphs. I don't
13 want to restrict any questions or conversations about
14 this subject. One view graph is a summary of what's
15 going on, and the other one is conclusion of what we
16 have.

17 First, what we tried to represent to
18 you but probably didn't very thoroughly, because it's
19 a subject of another briefing about the extent of
20 site characterization, is that we've tried to lay out
21 a three-dimensional view of program, the goal of
22 which is three-dimensional characterization so that
23 we can understand processes apt to change that
24 picture, and it includes a systematic approach as
25 well as examining anomalous features. It includes

1 surface and underground drifting to investigate these
2 structures.

3 We think at this stage, from a
4 conservative posture, the program is representative.
5 Of course, that's up for debate: What is the extent,
6 and how representative is it? We tried to defend in
7 our opinion what we think is a conservative approach,
8 using a surface and underground program with limited
9 excavation.

10 As long as y'all are brainstorming
11 about this particular subject -- where did Joe
12 Tillerson go? I wanted to use one of his view graphs.
13 He has been using view graphs which show the lateral
14 constraints on the development of the repository. If
15 we take a step back and think about what we're trying
16 to do here, there is a constraint that has had an
17 impact on the layout of that repository. It's

18 perhaps not all that clear.

19 That is, in 10 CFR 960, we have a
20 disqualification condition, if there isn't 200 meters
21 over. That evolved partly as a consequence of a
22 potentially adverse condition that was in 10 CFR 60,
23 which indicated that there was a potentially adverse
24 condition if we didn't have 200 meters. When the
25 department was looking for screening criteria, it

397

1 liked that, and the team said well, why don't we make
2 that a disqualification condition? So we did that in
3 our infinite wisdom, in the process of screening from
4 nine to five to three.

5 The question now, though, is how
6 appropriate is that, given the nature of the geology
7 and the hydrology and the structure that we're

8 dealing with? The point I want to make is that the
9 barrier is below the repository. So anything we can
10 do to increase the travel distance, increases the
11 travel time, and it provides more rock and more
12 barrier than what we have.

13 And so, if we're going to do a little
14 bit of brainstorming about looking at some of these
15 boundaries that Joe has shown laterally, one of the
16 ones we ought to also look at is a 200-meter
17 overburden cutoff that we've placed and tried to
18 decide well, should it, given the conditions we have
19 here, really be a disqualifying condition.

20 We have a lot of very old surfaces at
21 the site that provide information to us. Erosion is
22 not a question under the time period -- is not a
23 concern under the time period that this repository is
24 going to be intact.

25 MR. DEERE: But doesn't that limit

1 almost coincide with the edge of the Solitario Canyon
2 fault? So that if you tried to take advantage and
3 move farther to the left --

4 MR. BLANCHARD: Well, it does on the
5 west side, but not on the east side. And that's
6 where these expansion areas come into play that Joe
7 was talking about. For instance, when you look at
8 the water table and -- when you look at the structure
9 it dips to the east.

10 MR. DEERE: Yes.

11 MR. BLANCHARD: And so, in order to
12 stay in the Topopah Springs as we go eastward, we get
13 shorter and shorter travel distances to the water
14 table. And one of the things that drives us to a
15 steep dip in the repository is the 200 feet
16 overburden. And if that was not applicable, then we

17 wouldn't have to have such a steep dip.

18 Now, there might be other things, like

19 lithophysae might have to be studied in more detail.

20 But the more we can make that repository farther away

21 from the water table, the better off we all are.

22 MR. WILSON: So it's a question of not

23 extending it, but raising it?

24 MR. BLANCHARD: Yes. Raising the whole

25 repository. Or doing something which changes the

399

1 angle so in those areas that you might want to expand

2 into, you actually end up with a repository less than

3 200 meters down.

4 MR. NORTH: Do you have some other

5 materials that show that? Because this diagram

6 doesn't really do a good job of showing that tradeoff.

7 MR. BLANCHARD: I know it doesn't. We
8 do have some screening materials. I think it came
9 from -- is the best diagram from the Sandia screening
10 report? Sharla Bertram?

11 MR. VOEGELE: With respect to the 200-
12 meter disqualifier, I think the best one are in the
13 Mansur and Ortiz report.

14 MR. SINNOCK: I think we have a map of
15 the overburden repository.

16 MR. BLANCHARD: Yes. We can provide
17 you with some information.

18 MR. NORTH: What I'm avoiding is a
19 situation where we have to think through the design
20 tradeoffs. Supposing the 200 is relaxed to 175 or
21 150, then what does it do to this whole picture?
22 That's the diagram I'd like to see.

23 MR. STEIN: Max, I think it may be
24 appropriate to jump in at this point. It might be
25 very well to talk about the 200 meters, but that is

1 part of the site characterization.

2 There is a requirement in the Nuclear
3 Waste Policy Act that says for us to put together
4 general siting guidelines. 10 CFR 960 is the siting
5 guideline that we put together, as a result of the
6 requirements of the Act. It was also a document that
7 had to be concurred in by the NRC.

8 If we're going to make changes to that
9 document, then we have to go through a process where
10 we interact again with the NRC. We're talking about
11 time here to do it. It isn't that it can't be done,
12 but NRC would have to be involved in and concur with
13 that change in accordance with the Nuclear Waste
14 Policy Act.

15 MR. BLANCHARD: I think you're quite

16 right, and -- Clarence?

17 MR. ALLEN: I don't understand what
18 you're saying. The cross section we have that we
19 were shown shows the repository tilted of course
20 towards the east. But if you either try to raise it
21 or make it level, the east end of it gets up into the
22 overburden tuffs. And that's --

23 MR. BLANCHARD: But it doesn't get out
24 of the Topopah Springs unit.

25 MR. ALLEN: Well --

401

1 MR. BLANCHARD: It depends where you're
2 drawing the cross section; it's a cartoon.

3 MR. TILLERSON: It's not all of the
4 Topopah Springs.

5 MR. ALLEN: It's not a cross section,

6 it's a cartoon?

7 MR. TILLERSON: That's correct.

8 MR. SINNOCK: That cross section that
9 you saw is derived -- there are two or four times
10 vertical exaggeration from the graphic system. It is
11 a scaled plot of the contact between what we call the
12 TSW2 and TSW1. Both are Topopah Springs and the
13 TSW1 is the higher lithophysal content of the Topopah
14 Springs.

15 MR. BLANCHARD: Now, staying still with
16 this first point about what's representative and how
17 do you construct a three-dimensional picture, Ralph's
18 point was very good in that it is not an unilateral
19 program. Everything we do ultimately is based on
20 interactions with the Nuclear Regulatory Commission.

21 And the strategy that you will find in
22 the Site Characterization Plan that's reflected in
23 8.1 and 8.2, those sections as well as in 8.5 from a
24 schedule standpoint, is predicated upon taking those

25 things that we recognize are important features to

402

1 waste isolation. Preparing something like, if you
2 will, position papers about them. To help us
3 determine how much is enough to make a point, and
4 then interacting with the NRC about that draft
5 position paper to determine whether or not we've got
6 sufficient information.

7 I think we're on the right track for
8 demonstrating regulatory compliance on that one
9 subsection because all of these are building blocks
10 into the whole picture.

11 The assumption is that based on that
12 interleaved process, interacting around position
13 papers, we would eventually reach a point where we
14 more or less have mutual agreement that continuing on

15 with further investigation in some areas probably is
16 not going to produce much more information, and the
17 uncertainty isn't going to change very much.

18 We envision over the long term some of
19 the 106 studies may wind down early. Others the
20 scope may expand because on the basis of these
21 interactions, things will be brought up that we don't
22 know about now, and these studies will actually be a
23 little more comprehensive than we have. Perhaps even
24 some new ones will be created. So we have tried to
25 build in an interview process to address the

403

1 three-dimensional picture of what's represented.

2 Also, we expect the program, as it's
3 developed, to be sufficient in terms of the ability
4 to retain flexibility to expand. Just how much, Joe

5 has indicated in his presentation that in order to
6 accommodate a sixfold increase in drifting, they
7 would have to do an engineering analysis to decide
8 just what is their limit. They know they can get to
9 10,000 feet of drifting. How much more, and whether
10 it would be warranted is another question, and more
11 analysis would have to be done.

12 A perimeter drift early in site
13 characterization seems that it would constrain or
14 could constrain the repository layout in ways that we
15 would not want to do right now. An improved data
16 base could indicate the need for additional
17 exploratory drifting, perhaps coincident with mains
18 or with emplacement drifts or perimeter drifts. Any
19 of these could indicate the viability -- what am I
20 trying to say here; improved data from borehole
21 program obviously has an impact on where we drift
22 next and the extent --

23 MR. DEERE: Could I ask you to put a

24 red circle around that here and I want to come back

25 to that, if I might?

404

1 MR. BLANCHARD: Sure. The repository
2 design concepts should include development plans that
3 could use early perimeter drifts or mains, or access
4 drifts. And that's our perception for the strategy
5 for future examination of the conceptual repository
6 design.

7 MR. DEERE: Before going to the fourth
8 bullet, perhaps I'll look at the third one: A
9 perimeter drift early in the site characterization
10 program could constrain repository layout.

11 I think, in the discussions we have had
12 and the information you have presented, this is the
13 only logical conclusion that one can arrive at. An

14 early one now is just too early to be put in the
15 right place for almost any reason.

16 Therefore, it comes down to the fourth
17 one: Improved data base could indicate need for
18 additional exploratory drifting -- as you have
19 already discussed -- (perhaps coincident with mains,
20 drifts, perimeter drifts) or indicate viability of
21 perimeter drift.

22 Well, I think that this is a conclusion
23 that I would imagine we would be able to agree to.
24 That we do need the information to get a better data
25 base which will be coming from your planned drilling

405

1 program, before one could look at this in greater
2 detail.

3 MR. BLANCHARD: One of the things I

4 think that is coincident with your observation is
5 that we ought to go back and look at our planned
6 sequence of drilling to see whether or not we are
7 maximizing this particular feature. I am not sure
8 that we are right now. And so, it would warrant a
9 re-examination.

10 MR. NORTH: I'd like to reinforce that.
11 It seems to me the implication of point four is the
12 need for detailed contingency plans, as to how the
13 additional exploratory drifting might be done, given
14 all the logistical issues, and given the information
15 needs and site characterization.

16 MR. NORTH: In other words, pull it all
17 together. What information in the improved data base
18 is going to take you in what direction? And then
19 given that direction, how do you propose to take
20 action as a consequence?

21 MR. BLANCHARD: That's very reasonable.

22 MR. DEERE: I think another point is we

23 need an improved data base to be able to proceed with
24 repository design.

25 If the fault, the Ghost Dance Fault has

406

1 a displacement of ten feet at one end and 150 feet
2 farther down, as Scott mentioned, this has to be
3 verified early with your boring program to see where
4 that takes place. Otherwise I can see our horizon,
5 our target horizon being 150 feet apart on one side
6 of drift with respect to the other. Do we have 150
7 feet of room to play with in our restraints between
8 the lithophysae and the vitrophyre?

9 So the offset is fairly important,
10 otherwise it's very difficult to make a design at the
11 present time; not only for the perimeter drift, for
12 all of the drifts. So I think we should relook real

13 fast at your boring sequence, as you have already
14 suggested you think you should.

15 MR. CORDING: I think one other point
16 is that in looking at the improved data base,
17 regardless of what that data base shows, there may be
18 an indication here that one should expand exploratory
19 drifting, that one could make that decision even at
20 an earlier stage.

21 You've made a decision to go so far.
22 The decision could be made to go further or less,
23 even at this point. And it seems to me that in
24 looking at the possible ranges of results that you
25 will get from the surface drilling, one could still

407

1 conclude that, regardless of what the conclusions are,
2 we will need to do more drifting, even in certain

3 specific directions. Or at least we will need to
4 definitely use so many more feet of drift in one or
5 two possible directions; something that, in other
6 words is not just a contingency later on, but
7 building even in at this point that we're going to do
8 something more.

9 MR. BLANCHARD: Your point is referring
10 to the picture that Joe modified where he showed,
11 with a very few feet of drift you could perhaps
12 penetrate and test the Ghost Dance Fault three times.
13 That would build confidence.

14 MR. DEERE: Yes.

15 MR. CORDING: And building confidence
16 in what is across, for example, the full width of the
17 site. In terms of an east/west direction where most
18 of the major structures pass. Or would pass if
19 they're there.

20 MR. BLANCHARD: Yes. Then that being
21 the case, considering the conceptual nature of our

12 I have here. One was I have one copy of the Scott
13 and Bonk map which is more detailed, like this one
14 here but not colored. I can give that to you all now,
15 and if you want other copies we'll mail them to you.

16 And then I had a list of a couple of
17 other things. One was the design acceptability
18 analysis. We brought in four volumes here, which
19 represents the analysis we did in December, January
20 and February, and our attempt, using an independent
21 technical review team, to determine the viability of
22 Title 1 ESF design to be sufficient for moving on to
23 start Title 2. That's contained in there, all of the
24 details are in there.

25 There's about a 75-page executive

1 summary, which is very good. If you don't want to go

2 into the details, I would suggest that when you get
3 your copies, pull out the executive summary, work
4 with that and then everything that's referenced in
5 the executive summary is in the four-volume set.
6 Assuming that you didn't want to carry that with you,
7 we were going to make plans to mail it to you. If
8 you'd like to take one copy we can do that.

9 MR. DEERE: I will probably be back
10 after lunch, and I would like to look at it here,
11 then I'll have you send it to me later. I don't know
12 if the other three gentlemen will have a chance to
13 look at it before they leave; I doubt very much. But
14 I think we would like to have -- how many of you
15 would like copies? I know Ed needs to have one.

16 MR. BLANCHARD: We assumed we'd just
17 send a copy to each of you.

18 MR. DEERE: That will be fine.

19 MR. BLANCHARD: Along with the Scott
20 and Bonk maps.

21 MR. DEERE: And Ed Cording also needs a
22 set of the SCP eight volumes or nine volumes.

23 MR. BLANCHARD: Does anyone else need
24 an SCP set?

25 MR. DEERE: I might add, the

410

1 presentations you have made to date will be very
2 helpful to us in going back and rereading a number of
3 parts, which now make much more sense to us since we
4 understand the historic development and the status
5 that have gone into that presentation. I think this
6 has been very helpful to allow us to go back.
7 There's a lot of information in those volumes.

8 MR. BLANCHARD: Two other things I
9 might bring up. One was we promised to give you a
10 markup of Section 8.4 which pointed you in the

11 direction of where the analysis and evaluations were,
12 so you can look at what the bounding analyses are and
13 decide on your own. We'll do that and will mail it
14 to you.

15 Something else too, that I think would
16 help from a planning standpoint: We have something
17 called site investigations plan. It's a large folio
18 in a big booklet, and it lays out map by map, topic
19 by topic what our plan investigations are; the view
20 graph that Mike Voegele showed. For every different
21 group of investigations, we've got them laid out with
22 codes and symbols so you can see real easily where
23 they are. You don't get that in the SCP because of
24 the way it was produced and bound.

25 You may want copies of those too

1 because that lays out discipline by discipline what's
2 planned, not just on the block itself, but elsewhere
3 too.

4 MR. DEERE: Certainly we would like one
5 of those at our office in Washington, which we will
6 have now in about two and a half to three weeks.

7 MR. BLANCHARD: There seems to be one
8 other remaining item that was talked about. I don't
9 know whether you're interested in it or not. It was
10 brought up yesterday, and that is the study plan
11 analysis. It was only briefly talked about. It
12 doesn't really relate to either of these two topics,
13 but it was brought up. We could send that to you
14 when it's finished.

15 MR. ISAACS: What is it?

16 MR. BLANCHARD: Well, it's the basis
17 for having a degree of maturation on five excavation
18 phase study plans and demonstrating it. Even though
19 they weren't prepared under a quality assurance level

20 program, the program that they were prepared under is
21 equivalent to quality assurance Level 1. It really
22 is more addressing suitability from NUREG 1318 and
23 quality assurance standpoint; technical content, I
24 don't think, changes one bit.

25 Dave, would you like to add anything to

412

1 that? He is the author of that evaluation.

2 MR. DOBSON: No. I would just agree,
3 it's not a technical document. It's a summary of the
4 quality controls that were applied to the five
5 studies.

6 MR. BLANCHARD: Shall I scratch that
7 one off?

8 MR. DEERE: I would say if you could
9 have it sent to our office later we would like to

10 have those things in a single office so we can refer
11 to them.

12 MR. SALTZMAN: I think it relates more
13 to the subject of quality assurance than the subject
14 of study plans.

15 MR. DEERE: Yes, but we're going to be
16 into that in a later date, so it would be good for us
17 to have it.

18 MR. BLANCHARD: I have five actions
19 here that we just talked through that we will start
20 the wheels turning to send to you.

21 Tom and Carl and Ralph, are there other
22 things?

23 MR. DEERE: Do we have a copy of those
24 conclusions? I didn't seem to find it in mine --

25 MR. VOEGELE: That was inside the blue

1 cover. The summary page was passed out separately.

2 MR. NORTH: It had a staple on it.

3 MR. STEIN: That's it right there.

4 MR. DEERE: Okay, I'm sorry. Yes,
5 thank you.

6 MR. BLANCHARD: Why don't we just start
7 that way. Ralph, anything else?

8 MR. STEIN: Have nothing more to add.

9 MR. BLANCHARD: Tom?

10 MR. ISAACS: I just want to make a
11 couple of closing remarks if I might, on behalf of
12 the Department.

13 MR. DEERE: We just wanted to caucus
14 for about five minutes before we have our completing
15 remarks. So would you like to take a break and come
16 back?

17 MR. ISAACS: Sure.

18 (Thereupon a brief recess was

19 taken, after which the following

20 proceedings were had:)

21 MR. ISAACS: Would you like to proceed,

22 Dr. Deere? Or would you like me to proceed?

23 MR. DEERE: I will if I may, and we'll

24 let you have the last concluding statements.

25 MR. ISAACS: Sure.

414

1 MR. DEERE: First of all, we do

2 appreciate very much the great amount of time that

3 has been devoted obviously to a lot of your engineers

4 and geologists and management in preparing for this

5 meeting. It has been very useful background for us.

6 It makes it a lot easier for us to understand the

7 reports that we've been reading; the volumes we'll

8 certainly go back again. The new maps, the cross

9 sections, et cetera have proven to be invaluable.

10 The purpose of our meeting was to
11 discuss the two possibilities: One of using the
12 raise boring; and number two, of an early perimeter
13 drift to help in site characterization, primarily to
14 reduce the unknowns. This was the major region for
15 the perimeter drift. I will take the second topic
16 first.

17 We feel that the summary that was
18 placed up there with the third item, that it did not
19 appear to be practical to do at this time the
20 perimeter drift as a very valid conclusion, and
21 certainly one in which we agree.

22 We also like your number four bullet,
23 which stated that as a data base is established with
24 a drilling program that you now have laid out, you
25 will always reevaluate the information and see the

1 desirability of increasing the lengths of some of
2 your exploratory drifts, or the viability of a
3 perimeter drift at that time. Again, we are very
4 much in agreement with that.

5 We also know, from the field mapping
6 and the information that Scott and others have given
7 here, that there is very good evidence of 150-foot
8 offset on the Ghost Dance Fault at about the midpoint
9 of the proposed site. Near the shaft it is expected
10 to be less; 20 feet, 30 feet, ten feet, that's one
11 thing that is not known as yet. And someplace to the
12 north that fault which appears to be a scissors fault,
13 will die out.

14 So we might not get a representative
15 look at that fault by borings, or by our drifts as
16 currently laid out, near the north end. If the
17 displacement has been ten feet, I would imagine that

18 the fault zone characteristics could be considerably
19 different than where the displacement has been 150
20 feet.

21 So Bill, in detail, we don't know where
22 you have laid out your slant hole to go across that
23 fault. But it would seem to us that may be in the
24 area of greater displacement, which would be more or
25 less the center of the site. And that may well

416

1 coincide with where you are.

2 MR. WILSON: I think so.

3 MR. DEERE: Yes. We don't have that
4 detailed. Then we come to your conclusion, and again
5 are in agreement with the conclusions on your last
6 slide, with a minor modification. I will quote that
7 last sentence: "Information from the site

8 characterization program will help define the
9 repository boundaries, and may warrant additional
10 drifting, perhaps a perimeter drift at a future
11 date."

12 Our change would be to have the "may"
13 become "will" because we definitely feel that your
14 information will warrant additional drifting, and
15 perhaps a perimeter drift at a future date. And with
16 that feeling, rather strong feeling that we have in
17 mind, nothing more than that, we think it would be
18 prudent right now to increase your drift lengths at
19 this stage and not leave them as contingency things.

20 You still may have a contingency that
21 will require additional drifting. But at least we
22 will hit the Ghost Dance Fault in two places, and one
23 farther to the south where the offset is greater.
24 It's still not very far south, but it's in the right
25 direction. And that, together with the borehole

1 information, may suffice to characterize it. We also
2 feel you do need a perimeter drift across the site to
3 the west. If that --

4 MR. GERTZ: Not perimeter, exploratory
5 drift.

6 MR. DEERE: Exploratory drift. Excuse
7 me. -- across the site to the west to prove that you
8 have no important cross north/south striking, more or
9 less, or northwest-southeast structure cutting
10 through the main area of your future repository site.

11 And I believe that those are the
12 conclusions that we have derived from the information
13 I have presented to us, that there would be a great
14 deal of decisions you will be making as you get the
15 stratigraphic borings and the structural borings
16 finished. But this is just in anticipation for

17 planning.

18 Now, with respect to the other question
19 which we discussed yesterday and the board or the
20 panel members continued last night their discussion,
21 Dr. Allen, who is the chairman of our panel on
22 structural geology and geoengineering, will give our
23 concluding remarks with respect to that.

24 MR. ALLEN: Well, we think you made
25 some convincing arguments for the excavation of Shaft

418

1 No. 1 by the techniques that you had originally
2 proposed. At the same time, I think we still feel
3 that there are some very good arguments for at least
4 one of the shafts having exposures that are
5 relatively free of blasts and water contamination.

6 Therefore, we suggest you might think

7 about some sort of a compromise proposal, something
8 like this: That Shaft No. 1 be excavated as you had
9 planned, by conventional methods, with the only
10 exception being that you look very carefully at the
11 list of experiments you expect to do in that Shaft
12 No. 1, trying to differentiate those that are
13 necessary to be done as the shaft progresses in-depth,
14 which certainly some of them must be done. And
15 differentiating those from experiments can be done
16 later, either out of Shaft No. 1 or Shaft No. 2 at a
17 later date.

18 For Shaft No. 2, we would like to see
19 this either raise bored reamed out in some way to in
20 effect give exposure without contamination and some
21 possibilities -- which, I think we still are not
22 firmly convinced which one of these might be most
23 advantageous -- is indeed from the bottom of Shaft
24 No. 1, to drift across the future location of the
25 bottom of Shaft No. 2, and then simply raise bore

1 from that location.

2 Another possibility might be to
3 excavate Shaft No. 2 by conventional methods, but at
4 a minimum realistic diameter; eight or nine feet,
5 whatever that is. Go down to its total depth by
6 conventional methods, then drift across to the bottom
7 of Shaft No. 1, arriving there basically at about the
8 same time that Shaft No. 1 is planning the schedules.

9 So you arrive there at the same time
10 Shaft No. 1 is completed at the bottom. Then go back
11 to Shaft No. 2 and either raise bore it, extending it
12 out to 14-foot diameter or whatever seems appropriate,
13 or perhaps coming in with a V mole or some sort of
14 operation from the top, of course taking the waste
15 out of the bottom and coming back up through Shaft

16 No. 1. The second procedure is giving the advantage
17 that as you go down from the top the geologist can be
18 right directly behind the machine, almost
19 instantaneously observing what's going on.

20 There are a number of possibilities
21 here, but I think we would just urge you to give some
22 serious consideration to some sort of a scheme here
23 that will allow you to get those uncontaminated
24 exposures that will arise either from a reaming out
25 or a raise boring type of procedure.

420

1 Don, you know the nomenclature here
2 better than I, and perhaps you can expand on this.

3 MR. DEERE: Well, I will describe for
4 just one moment what I would prefer on a personal
5 basis because of experience in mapping inside of

6 raises for exploratory work.

7 That is I think that after Shaft 1 is
8 done and the drift taken across to the base of No. 2,
9 and then being able to raise bore perhaps with the
10 center hole, your exploratory hole being right down
11 the center of that shaft, with your geophysics and
12 your other logging, and then reaming that out so that
13 you have a 12-inch diameter hole to accept your raise
14 bore and then to take it right to the surface in the
15 question of 12 days or 14 days at a small diameter;
16 six to eight feet. And the mapping then could be
17 done coming down from the surface with all the time
18 that one wants.

19 And for drilling out across, the
20 mapping Bill yesterday pointed out that a rough shaft
21 has advantages and allows you to get the dip of the
22 structure and not just the strike. But a smooth
23 surface in a small bored hole allows you to stand and
24 see the structure on two sides, and to get a perfect

25 angle of the strike that you could never get looking

421

1 at a small block. And it's much easier to do in a
2 six-foot shaft or eight-foot shaft than it is in one
3 full size. You see it in an undisturbed condition,
4 you see the gouge or the filling or the
5 mineralization. You see if the joints are open or
6 closed, and the amount of damage you do is very
7 minimal.

8 It's really a very, very efficient
9 exploratory tool for mapping and observing
10 characteristics of joints, frequency. It would be
11 very nice for taking samples, six-inch samples,
12 whatever you need, by coring right into the side for
13 five feet or whatever, four feet, three foot -- we
14 have taken cores right from the surface and gone in

15 only one foot and tested them. The disturbance is so
16 minimal in hard rock with respect to the depth that
17 you're working. And have that available for doing
18 everything that you want all the way down.

19 Soon as you get your six-foot
20 photographed and mapped, you shotcrete it. The small
21 shaft, shotcrete would be sufficient. And you
22 continue down with your mapping and your testing over
23 the time available.

24 Now, when you get all through with
25 that -- and incidentally, Shaft No. 1 is being used

422

1 for your haulage and all the other things you may
2 want to be doing as you're developing your rooms and
3 other areas. When you get through with this, one
4 then reams it with a final pass to the diameter that

5 you want.

6 Now, an alternative to this two-pass
7 raise boring is to raise bore only once with your 14-,
8 15-, 16-foot diameter, as required, and do the same
9 thing. You have a little more of a stability problem.
10 You might have to add rock bolts, but you can now do
11 it because you're not going to raise bore them out.
12 And the shotcrete, and come on down. So that's two
13 possibilities of the raise boring, as used.

14 Now, Clarence Allen's suggestion was
15 that one also consider the V-mole, which comes down
16 in a vertical mode and drops its muck into a pilot
17 hole. That pilot hole can be raise-bored, or another
18 alternative that he mentioned was -- I think you
19 mentioned it -- was that -- yes, that the shaft would
20 be sunk in conventional methods, No. 2, to nine feet
21 or ten feet, and then raise bored out to your 14 or
22 15, or V-moled down; either one.

23 MR. ALLEN: That alternative was simply

24 one of trying to save time so you weren't totally
25 dependent on No. 1 being all the way down before you

423

1 could even start your drift, horizontal drift.

2 MR. DEERE: Right. But if one were
3 able to save a couple months' time in the testing or
4 three months' time in the testings of Shaft 1, so
5 that you do get down to the bottom or have a chance
6 to come across, then raise bore up, I don't think the
7 overall program would suffer too much. Maybe two
8 months, maybe four months. But I think this is the
9 kind of a thing that really is not going to count
10 very much. We get better quality information.

11 So we would simply leave this as a
12 suggestion that has developed from the discussions we
13 had ourselves before we came, from the information

14 you have presented to us to your analysis of the
15 problem and the difficulties which we are well aware
16 of exist, and we think it might be of interest for
17 you to look at this combination to see if you think
18 it is a viable alternative or not. That's our
19 recommendation.

20 MR. ISAACS: Okay. Let me make a few
21 remarks, if I might, both in general in closing on
22 behalf of the Department, and also with regard to the
23 recommendations that I heard. Let me start by saying,
24 if I might also in your presence, that I appreciate
25 very much the tremendous amount of work that was done

424

1 by the staff in preparing for these presentations as
2 well. I think it was well done, and certainly needed.
3 And we're going to have to do these well.

4 I was reflecting recently on the fact
5 that with the establishment of this board and already
6 five panels and a can-do attitude, that it wouldn't
7 surprise me in the least that not a month goes by but
8 we don't have somewhere in the program either a
9 meeting with the board or one of the panels, and
10 that's a tremendous obligation on the part of the
11 Department and the program and try and do a
12 professional job and tricks not lost on any of us and
13 the impacts that has on both these folks' ability to
14 do the job they have to do, and what it means in
15 terms of the overall progress of the program, and I
16 appreciate the work of all of you who have done it,
17 it's a very difficult problem and recognizing that
18 we're going to have to take a hard look and still
19 meet these kinds of requirements.

20 I also want to thank this panel for the
21 very cooperative and productive approach that you've
22 taken to this particular issue. This is the first of

23 probably what will be a lifetime of interactions,
24 shall we say. I reflect back on something you said
25 yesterday, Don. We sent you a copy of the Canadian

425

1 Technical Advisory Report, and that was TAC No. 9.
2 They've been in business for nine years and counting.

3 MR. ALLEN: We expect to be in business
4 for 10,000 years.

5 MR. ISAACS: Since you're supposed to
6 go out of existence one year after we begin placing
7 waste, that causes me a great deal of stress,
8 Clarence.

9 Let me also add that I think it's
10 important for all of us to recognize that we all have
11 an appreciation of the many integrating factors that
12 come into this program. One cannot make any kind of

13 decision when you live in this program for a while,
14 you'll see that, that does not consider not just the
15 technical implications of what you do, but what does
16 it mean in terms of the overall program requirements?
17 What does it mean in terms of the law? What does it
18 mean in terms of legal requirements? What does it
19 mean in terms of our institutional obligations which
20 are prescribed by law?

21 And it's very important that we
22 interact with the states and with the local
23 governments in a very responsible and rigorous
24 fashion, and that we certainly do not forget the
25 tremendous obligation to work very closely and

426

1 cooperatively and successfully with our NRC
2 licensures because this program is not going to

3 succeed unless we are able to do that in a very
4 successful way.

5 And last but not least, the fact that I
6 think it's inherent in the law an obligation not just
7 to conduct this program in a scientifically
8 outstanding manner and a scientifically acceptable
9 manner, but that we must also keep in mind the
10 benefits and requirements to do this in a timely way,
11 be successful in a timely way and do this in a cost
12 effective way. Doesn't mean the cheapest, but the
13 most cost effective.

14 It's incumbent to say the litmus test
15 we do in this program is that we do the best job we
16 can in carrying out the provisions of the law we're
17 trying to do here. This is a very difficult program,
18 very dynamic program; I think that came out very
19 clearly in the presentation.

20 I think it's important, from the
21 Department's point of view, that we work very

22 cooperatively and successfully with the board and
23 with the panel. But we need to make sure that
24 together, we don't try and make ad hoc commitments on
25 the run of a substantial nature.

427

1 The fact that we have obligations to
2 the NRC, that we have obligations in law for hearings,
3 for public hearings, for comments on draft documents,
4 for finalizing those documents, that we have
5 obligations for interacting responsibly with the
6 states and locals means we have to do things in a
7 fairly responsible and rigorous fashion.

8 The reason I say that is to simply
9 suggest that we need to make sure that we take full
10 advantage of the obvious tremendous insight that is
11 available to us here, and that we adapt the program

12 as best we can to do things so that we carry out to
13 law to the best extent possible, and that we have the
14 most technically credible program possible.

15 But we also need to balance that
16 against the process by which a monster like this
17 moves forward. Because this is a program, as Carl
18 pointed out, where we have 1400 people working just
19 at Yucca Mountain alone. This program goes beyond
20 Yucca Mountain. We have concerns about
21 transportation, interactions with utilities, cast
22 designers, transportation vendors et cetera that are
23 all part of the program that ultimately get drawn in.
24 It's a very large program, and we need to do this in
25 a rigorous fashion. So we very much appreciate the

428

1 recommendations and suggestions that were made here

21 let me say I think it's been a very successful
22 meeting. I think the staff has gotten a lot, I
23 certainly have gotten a lot out of this. I think
24 you've given us food for thought that may indeed
25 enhance the program.

429

1 On behalf of the Department, at least
2 from Headquarter's point of view, I thank you and we
3 look forward to many more like this in the future.

4 MR. GERTZ: My only comments, not at
5 all to repeat what Tom said, but we appreciate y'all
6 coming out. Certainly here at the end of June we're
7 going to have a more comprehensive overview of the
8 entire project, and we look forward to that.

9 We want to make sure we answer the
10 questions you want answered so that we can be

11 productive during that day of presentations and day
12 of tours. We're looking for your suggestions there,
13 and I, on behalf of the science project, really
14 appreciate the scientific questioning and
15 interactions that you bring to the project; it really
16 helps us.

17 I think people who have been on this
18 project -- not myself for ten years, but many have.
19 And sometimes we get too focused and too narrow-
20 minded, and we appreciate an outside look that
21 stimulates the thinking. We're glad to have you here,
22 and look forward to seeing you in a couple of months.

23 MR. DEERE: Thank you very much. It's
24 been very enjoyable. With respect to the briefings,
25 in the future, hopefully as we gather more and more

1 of this background and get more knowledgeable, many
2 of the meetings let's say a year from now will be on
3 more specific topics where we already have the
4 background.

5 But in these early meetings, indeed we
6 need the background. We need to have exactly what
7 they're presenting. This leads us, of course, into
8 wanting additional documents, and we of course have
9 accumulated quite a number of those.

10 This meeting was very helpful, and
11 we'll have others being sent to us, and this is the
12 kind of interactions that we need to know what to ask
13 for, and we think this has all been very helpful.

14 MR. GERTZ: I guess I just have one
15 other thing that I profess when I speak about the
16 project locally, is I think boards such as this are
17 necessary to assure and improve public confidence in
18 the process. So I think it's a vital step, and I
19 think Congress recognized that when they chartered

20 y'all with it. So we look forward to it.

21 (Thereupon the proceedings were

22 concluded.)

23 * * * * *

24

25