

NUCLEAR WASTE TECHNICAL REVIEW BOARD

ENGINEERED BARRIER SYSTEM, TRANSPORTATION AND SYSTEMS
JOINT PANEL MEETING

TECHNICAL CHALLENGES OF INTERIM STORAGE OF SPENT FUEL

Dallas, Texas
November 1, 1993

BOARD MEMBERS PRESENT

Dr. John E. Cantlon, Chairman, NWTRB
Dr. Dennis L. Price, Session Chair, Morning Session
Dr. D. Warner North, Session Chair, Afternoon Session
Dr. Donald Langmuir, Member
Dr. John J. McKetta, Member
Dr. Ellis D. Verink, Member

STAFF MEMBERS PRESENT

Dr. William D. Barnard, Executive Director, NWTRB
Dr. Sherwood Chu, Senior Professional Staff
Dr. Carl Di Bella, Senior Professional Staff
Dr. Daniel J. Fehringer, Senior Professional Staff
Dr. Leon Reiter, Senior Professional Staff
Mr. Russell K. McFarland, Senior Professional Staff
Ms. Paula Alford, Director, External Affairs
Ms. Nancy Derr, Writer/Editor
Ms. Helen Einersen, Executive Assistant
Ms. Linda Hiatt, Management Assistant
Mr. Frank Randall, Assistant, Public Affairs
Ms. Karyn Severson, Congressional Liaison

I N D E X

	<u>PAGE NO.</u>
Opening Remarks	
Dr. Dennis L. Price, Session Chair	2
Nuclear Waste Technical Review Board	
Keynote Speech: Issues, Options, and System Risks	
Chauncey Starr	5
Electric Power Research Institute	
Perspectives on Interim Storage from the NRC	
Robert Bernero	37
Nuclear Regulatory Commission	
Department of Energy (DOE) Management Plans and Strategy for the Interim Storage of U.S. Spent Fuel	
Lake Barrett	61
Office of Civilian Radioactive Waste Management	
Session Introduction	
Warner North, Session Chair	118
Nuclear Waste Technical Review Board	
Perspectives on Interim Storage	
Harald Chagen	120
Consultant to KASAM (Sweden)	
William Magavern	126
Critical Mass	
Ben Smith	131
Tennessee Governor's Office	
Mary Sinclair	138
Michigan Citizen	
Ken Miller	147
Sacramento Municipal Utility District	
Robert Mussler	153
Office of the Nuclear Waste Negotiator	
Robert Holden	159
National Congress of American Indians	
Round-Table Discussion	167
Comments from the Public	230

P R O C E E D I N G S

(8:30 a.m.)

1
2
3 DR. PRICE: Good morning and, on behalf of the Nuclear
4 Waste Technical Review Board, welcome to this morning which
5 is jointly sponsored by the Board's Panel on Transportation &
6 Systems and the Panel on the Engineered Barrier System. I am
7 Dennis Price. I am Chair of the Transportation & Systems
8 Panel and I am Professor of Industrial & Systems Engineering,
9 Director of the Safety Projects Office at Virginia
10 Polytechnic Institute & State University.

11 Let me now introduce other members of the Board who
12 are here today. Ellis Verink, Chair of the Engineered
13 Barrier System Panel. He is distinguished Service Professor
14 of Metallurgical Engineering Emeritus at the University of
15 Florida. John Cantlon, the Chairman of the Technical Review
16 Board. He is Vice-President Emeritus for Research & Graduate
17 Studies at Michigan State University. His field is
18 environmental biology. Warner North, a member of the
19 Transportation & Systems Panel. He is Consulting Professor
20 in Engineering & Economic Systems at Stanford University and
21 a principal with Decision Focus, a consulting firm. Donald
22 Langmuir, a member of the Engineered Barrier System Panel.
23 He is Professor of Geochemistry, Colorado School of Mines.
24 John McKetta, another member of the Engineered Barrier Panel.
25 He is a Joe C. Walter Professor of Chemical Engineering

1 Emeritus at the University of Texas. I should note that
2 Ellis Verink and I reciprocate. He is a member of the
3 Transportation & Systems Panel and I am a member of his
4 Panel.

5 Also in attendance today are our technical staff.
6 I would like to specifically introduce Bill Barnard, the
7 Executive Director, and Woody Chu, and Carl Di Bella, who
8 provide staff support respectively to the Transportation &
9 Systems Panel and the Engineered Barrier Panel.

10 As most of you know, the Nuclear Waste Technical
11 Review Board was created by Congress in the 1987 amendment to
12 the Nuclear Waste Policy Act. The Board is charged with
13 providing an unbiased source of expert advice on technical
14 and scientific validity of the DOE's work in high-level
15 nuclear waste management.

16 The theme of this meeting is on the technical
17 challenges of interim storage of spent fuels. The Board
18 believes that interim storage is an important component of
19 the storage, transportation, disposal, waste management
20 system. The Board also believes that these functions are
21 strongly interconnected and has long urged the DOE to view
22 them in a total systems context. That this is a joint panel
23 meeting and that Ellis Verink and I are members of each
24 other's panels underscore this point.

25 The Board devoted a substantial part of its winter

1 meeting last January to the subject of interim storage. This
2 meeting will provide an opportunity to explore some of the
3 technical issues in a more detailed level than was possible
4 at the January meeting. Our concern encompasses all of the
5 fuel that would be generated and not just that part that may
6 be accepted by the Federal Government for storage. The aim
7 of the meeting is to identify important technical issues
8 related to long-term storage that need to be addressed. Some
9 of them may include questions of system compatibility of
10 diverse storage technologies and standardization, containment
11 integrity and transportability after prolonged storage, and
12 risks of multiple handlings and transfers.

13 We have allotted a day and a half for this meeting.

14 It separates nicely into three sessions. This morning
15 session sets a stage. We are very fortunate to have Dr.
16 Chauncey Starr, a world-renowned expert in risk analysis as a
17 keynote speaker. As you know, Dr. Starr is the Emeritus and
18 Founding President of the Electric Power Research Institute.

19 He will be followed by Bob Bernero of the Nuclear Regulatory
20 Commission who will give the NRC perspective on some
21 specifics relating to the safety and security of interim
22 storage. After a break, we will hear from the Department of
23 Energy led by Lake Barrett. We've asked him to provide us
24 with some details that relate to DOE's management strategy
25 and plan for the interim storage of spent fuel including

1 research and development plans and an update on the status of
2 the multi-purpose container concept.

3 While the intent of the meeting is to explore
4 technical issues, the Board is mindful of the significance of
5 institutional issues associated with interim storage and the
6 potential effects on the implementation of technical
7 decisions. Therefore, there will be a session this afternoon
8 devoted to some of these institutional issues. This session
9 will be chaired by Warner North. In addition to formal
10 presentations, this session will feature a round-table
11 discussion at the end. This morning's speakers are invited
12 to participate in the round-table.

13 Tomorrow morning, we'll concentrate on technical
14 issues and we will delve into the specifics of a variety of
15 technical topics. That session will be chaired by Ellis
16 Verink. There will be time at the end of both days for
17 comments from the audience. I know some of you have to leave
18 today, but I hope most of you can stay. It is a full agenda.

19 It is my pleasure now to turn the microphone over
20 to our distinguished keynote speaker, Dr. Starr.

21 DR. STARR: Well, it's an honor to be invited to give a
22 review talk to such a distinguished board that's been working
23 for so many years on this problem and probably knows more
24 about the details of it than I do. I've been working,
25 however, in this field for 47 years since its very inception

1 and I probably know more about the history and the skeletons
2 in the closet of what's been going on in this whole field of
3 the interim storage of spent fuel. And, I thought since the
4 Board asked for it, I would give a general review of the main
5 features which I believe ought to be considered in the
6 technical aspects of planning out the nation's spent fuel
7 strategies.

8 Interim storage is a high-priority public safety
9 concern. It involves a moderate degree of technical
10 complexity, but is a very foreseeable need for the nuclear
11 power utilities. Let me give you a little picture of the
12 perspective and, let me just say, I don't have a written
13 speech, but I've left an outline with the secretary of the
14 main points I intend to cover which is, I'm sure, available.

15 I'm going to draw on the experience we had in
16 handling the whole problem of nuclear powerplant safety
17 issues as it might be relevant, what we might learn from this
18 in handling the problems of interim storage of spent fuel and
19 its issues. I'm going to draw on the experience which I've
20 had and others have had and some on the committee in the
21 field of risk analysis which is a very general field of how
22 you handle public risks and the social decision making. And,
23 I'm going to draw on my experience with public perception
24 because any of us who have been in the business of nuclear
25 power this long have learned the hard way about public

1 perception and what's involved.

2 Let me talk a little bit about the framework for
3 the strategy for the interim storage of spent fuel. The
4 issue is not strictly technical. That's a lesson you learn
5 very, very quickly. The reality of the issue is embedded in
6 institutional doctrine, Government policies, and public
7 perceptions all shaped and constricted in the formation of
8 technical options and priorities. The technology is,
9 therefore, not independent of all these non-technical
10 frameworks, and we in this country and in every country are
11 not free to have the best technical choice. We have to find
12 something which meets all the other constraints. An inherent
13 problem in all long-term projects that cover decades is that
14 any system now planned assumes that we know the performance
15 requirements for the useful lifetime of the system. At least
16 50 years for spent fuel interim storage system would have to
17 be looked ahead and a millennia for an eventual repository.
18 Anyone who thinks that they know what the public criteria are
19 going to be 50 years from now or 1,000 years from now is a
20 bit of a visionary.

21 History suggests that such persistence of a
22 performance criteria is very rare and I'll give you a very
23 interesting historical example for those who want to look at
24 it. Read the history of the early concepts of the railroad
25 systems of the United States 100 years ago and see what

1 people thought railroads would do in the development of the
2 country and then see what happened and what interfered. And,
3 you will find that the people who planned the railroads of
4 the country thought they knew what was going to happen and it
5 didn't. And, we face the same problem here. Trying to make
6 decisions on meeting the criteria for a system that is going
7 to be effectively in operation 50 years and 1,000 years from
8 now requires a different kind of approach than one that says
9 we know all the specifications right now.

10 Let's talk about the general system objectives that
11 meet this kind of framework. The first one, obviously, is
12 flexibility. For the reasons I've mentioned, every one of
13 such systems, long-range systems, are developmental in
14 nature. The first use of the system which we've set all the
15 criteria and the engineers build it and inspectors say it's
16 working--the very first time you use it, you end up with a
17 list of modifications. So, you've got to be able to start
18 changing this system right from the beginning. And, changing
19 priorities, changing loads, changing policies always lead to
20 continuous modifications. So, the system has to have the
21 capability of flexibility; a system that doesn't permit
22 flexibility is essentially going to run into a dead end.

23 The second major point--these are major lessons--is
24 that the initial demonstration and technical performance
25 monitoring of these systems is very key. These systems

1 require scientific and engineering data collection throughout
2 their lifetime. There's no such thing as having all the
3 science and all the engineering planned out to the last
4 detail before you start. The very first decade has a
5 tremendous amount of scientific and engineering data
6 collected and then it continues on indefinitely, but on a
7 diminishing basis as time goes on. And, the reason for it is
8 you learn how to both prevent things that you don't want
9 happening and to correct things that you find aren't doing
10 what you thought they would do, and finally, things that you
11 assume the public would be confident about and the public
12 isn't confident about and you have to demonstrate these. So,
13 the public's point of view on this stuff is also a variable.
14 It changes as time goes on.

15 Well, those of us who travel back and forth on
16 airplanes all the time--I'm sure, there's committee members--
17 their point of view of safety on the airplane, if you think
18 back 20 or 30 years what you worried about and you think back
19 now what you worry about, they're quite different. Well, for
20 myself, I'm happy when we got off the ground, I'm happy when
21 we land, but while we're flying, I don't have any problems.
22 Thirty years ago, that was a big problem. I was always
23 wondering about the engines giving out in the middle of
24 flight. Now, we don't worry about the engines--rarely worry
25 about the engines giving out in the middle of a flight. We

1 worry about that bump on the runway and we land and that
2 little rumble on the takeoff, whether he's going to make it
3 before the end of the runway. Your points of view change.

4 Let's talk about risk analysis, in general. I'm
5 going very rapidly because I'd like to leave time for the
6 Board members to ask me questions. The field of risk
7 analysis is very complex and Dr. Bernero on the Board is one
8 of the experts and so is Warner North and so I'm going to be
9 giving some summary things that they are fully aware of and
10 can fill in.

11 One of the things you learn in risk analysis is
12 there's no such a thing as dropping a problem. All problems
13 eventually lead to outcomes, whether you do something about
14 it or you don't. Time and social processes can't be stopped.
15 Time goes on; society moves to do things whether you do
16 anything about it or not. Neglect leads to unplanned and ad
17 hoc short-term responses that are unpredictable and usually
18 undesirable. I think one of our famous senators talked about
19 benign neglect. There isn't any such thing as benign
20 neglect. There's neglect, but it isn't benign. Action
21 provides control. That's one of the reasons we look for
22 actions. We want to be able to control the extent of what's
23 going to happen based on foreseeable knowledge. Neglect may
24 also be a conscious strategic decision, but it's a decision
25 not to control a situation; to leave it uncontrolled. I make

1 this point because the evasion from facing up to finding a
2 solution to a foreseeable risk is a conscious decision to
3 keep hands-off, but that's also a conscious decision to
4 invite a completely uncontrolled response.

5 Second, no solution is perfect in all respects.
6 There isn't any solution to a public risk that's perfect for
7 all kinds of reasons. I'd be happy to talk about that
8 further, but one seeks the best balance of what; the benefits
9 of doing something, the cost of doing something, and the
10 risks that remain. There's always some kind of risk
11 remaining. In the benefits, you include all the social
12 benefits, as well as economic. In the costs, you include all
13 the social costs, as well as monetary costs. And, the risks,
14 you assume not only the tangible ones, but the intangible
15 ones. And, we can give all kinds of examples. I don't want
16 to digress on that one because it's too interesting. If I
17 start talking about that, I wouldn't have time for other
18 things.

19 Every end-objective has several strategic planning
20 paths from now until then. So, if you look at an end-
21 objective, you say, well, there's any number of different
22 ways we can get there. The problem is to compare these
23 different paths and what is needed in the risk analysis is a
24 comparative risk of the benefits/the costs of the
25 alternatives. Focusing on any one approach can usually get

1 you into trouble because you squeeze that one approach and
2 put blinders on the other approaches which, on balance, might
3 be a much more desirable course.

4 In the nuclear power industry, what was developed
5 to get the engineering number game as one of the inputs, but
6 at least to get it so that it has a minimal argument, one
7 develops a Probabilistic Safety Analysis called a PSA. Very
8 commonly done and is now routine, every nuclear power
9 installation. This was started a long time ago and I won't
10 give you the history on it, but what it does is collates all
11 the engineering technical judgment, including the
12 uncertainties on the technical side and the engineers work
13 this through in terms of the probability of all the things
14 that could fail failing and it gives you a picture of what's
15 important, what's unimportant. You need to do that for every
16 one of the alternatives and it provides you a basis for
17 getting a comparative risk perspective and it also shows up
18 what it is you need to worry about in terms of the important
19 risks and the trivial ones.

20 The next point, there should not be a zero risk
21 target. It's impossible, literally impossible, to develop a
22 zero risk target for any public risk. A very hard point to
23 get this across. Unfortunately, politically, it's a
24 wonderful cliché to get a public zero risk. Those of you who
25 are following the history of the Delaney Amendment, which I

1 have been fighting personally in writings and everything else
2 for over 20 years, is this is a political amendment that said
3 certain things should be done to give the public zero risk.
4 It's a technical, scientific, and practical impossibility.
5 In the case of anything involving radioactive materials, it's
6 certainly an impossibility.

7 So, what do you look for? Realistically,
8 individuals worldwide commonly have an annual probability of
9 death from nature-induced accidents (insects, snakes,
10 lightening, that kind of thing) ranging between 10^{-6} and 10^{-7}
11 --that's one in a million and one in ten million per year--or
12 a lifetime risk of 7×10^{-5} to 7×10^{-6} . What that says is--
13 incidentally, this is true all over the world. I collected
14 the earliest statistics. You can go to the darkest Africa,
15 remotest Asia, anyplace you want, and you'll find these
16 numbers are in that range all around the world. Nature sort
17 of sweeps out a certain fraction of us every year on things
18 that we don't control; lightening being a typical one, insect
19 bites being another. It just turns out to be in that range.

20 So, if you're running an insurance company, that's the
21 minimum risk you can foresee for your clients.

22 Now, it's therefore excessive for society to invest
23 resources to reduce any man-made risk very much below this
24 magnitude, even accounting for the statistical accumulation
25 of such low-level risks. So, if you start making social

1 investments to try to reduce risk much below that number,
2 you're essentially wasting society's resources. It may make
3 you psychologically feel good that there's a risk hanging on
4 the wall, you've removed that risk, but there probably--that
5 risk is, say, 10^{-9} and you're walking around all day with a
6 risk of 10^{-7} , you're really wasting your money because there
7 are a lot of other things we face where the risks are very
8 much higher and that's where the resources ought to go.

9 So, anyone who tells you that in order to reduce a
10 risk, he wants to get it down to zero or some remarkably low
11 number because the public couldn't afford that many
12 fatalities, for example, in 10,000 years or something of that
13 sort, somebody has to look at what that resource would do in
14 removing a much higher risk. Society does not have unlimited
15 resources. The allocation of resources in an effective
16 manner is a very important key issue and I could talk to you
17 about that.

18 So, you end up then with the picture that public
19 risk is comparative and not absolute. And, therefore, as I
20 go through the literature which all of you have been exposed
21 to and I see numbers coming out from the agencies like 10^{-9}
22 and so forth and so on, I mentally shudder at the lack of
23 comparative public risk with everything else that those
24 resources ought to be applied to.

25 Let me go on. A system analysis of each

1 alternative should be undertaken to disclose the cost/
2 benefit/risk relationship of each and their dependence on a
3 range of public safety and inter-generational criteria. Now,
4 this is how you take care of the 50 and 1,000 year problem.
5 You have to look at what could happen to public criteria 50
6 years from now or what might happen 1,000 years from now.
7 I'll give you a quick example. I just came from a meeting
8 which involved a lot of bio-technology people and, depending
9 on who you talk to, their range of confidence--for example,
10 of having not an absolute cure for cancer, but one where 99%
11 of cancer-induced growths could be managed or cured--their
12 confidence of doing this in the next 50 to 100 years are very
13 high. There's some who say, well, it's going to be very
14 difficult, but you know, recognizing about 50% are being
15 handled now, if cancer suddenly in the next 50 to 100 years
16 becomes just a treatable ailment, then the public's almost
17 neurotic concern with radiation-induced cancers might
18 disappear and does not become a very high fear element in the
19 public. If you believe that the human race is not going to
20 go to the dogs in 1,000 years, but it's going to continue to
21 grow intellectually, it's certainly likely to be the case.
22 Well, that's one of the possibilities.

23 The other possibility--let me go on to a few, there
24 are many of them--is suppose the global warming issue which I
25 don't think is at the moment the most pressing public issue,

1 but suppose it turns out to be a very pressing public issue
2 in a practical sense. You know, we really get a solid signal
3 that global warming is imminent, we're got to do something,
4 and we go all fossil fuels. Then, there are very few
5 alternatives. You can dream all you want about all the other
6 things, but the only big source we have is nuclear power. I
7 might also point parenthetically--I'm not trying to sell
8 nuclear power on this issue; I'm just trying to point out the
9 spectrum of things you have to look at--it turns out that in
10 Europe today nuclear electricity is the cheapest form of
11 electric power sources. In fact, if you read the newspapers,
12 in Germany today--today, this calendar day--there's a big
13 debate going on. The coal industry is concerned that if
14 nuclear power isn't shut down, the coal industry in Germany
15 will go out because coal power in Germany costs twice as much
16 as nuclear. And, France, as you know, is supplying huge
17 amounts of nuclear electricity to England, Spain, Belgium,
18 Switzerland, Germany, and Italy because it's the cheapest
19 form of electricity. Now, in this country, nuclear power is
20 in a dormant stage as far as growth is concerned for all
21 kinds of reasons, but the basic costs are not high. So, if
22 the global warming issue were to become an issue in 50 years
23 or less, the whole framework changes. So, you can't take the
24 position that the system you're going to put together is a
25 system that's on a temporary basis. It may not turn out to

1 be. You have to be able to handle a flexible change in
2 criteria.

3 Now, let's talk about public acceptance. Public
4 acceptance of risk has been argued about. There are huge
5 books written on this. Myself and Dr. Bernero, I know, and
6 others have written on public acceptance, but I've come to
7 one conclusion. It's sort of a general one. That is that
8 the public really wants effective management of a risk. They
9 really want to believe that the agency that's responsible for
10 it can do the job competently. The public wants visible
11 assurance that it can be monitored and that remedial steps
12 can be taken. You know, the notion--I'm not trying to now
13 change all the directions for spent fuel storage, but the
14 notion that burying things underground gives the public
15 confidence is naive. The public wants to see where the
16 hazard is, wants to see that it's being monitored, and wants
17 constant assurance that it's being monitored. They assume
18 that the technical people involved know what they're doing,
19 but they want to know that it's being done. If you'll
20 notice, the airline people always give you pictures of what a
21 wonderful maintenance shop they have taking care of their
22 engines. That's to give you confidence. And, that's what
23 the public wants. They want confidence that it's being
24 managed. Of course, they want a lot of other things. They
25 say, well, if it's well-managed, the risk isn't going to be

1 very high and so on. But, unless they can see visible
2 indications of management, the public confidence is always
3 the question.

4 Now, those are generalities on the risk analysis.
5 Let's come back to your problem for this morning on interim
6 storage. Let me tell you how these generalities connect with
7 the your particular issues. First, the spent fuel flow in
8 the U.S. during the coming decades must be stored. You can't
9 neglect this problem. The spent fuel is accumulating, it's
10 going to continue to accumulate, it's going to accumulate.
11 Even if no more nuclear plants are built, it's going to
12 accumulate for another 20 years and it's got to be a large
13 amount and you've got to take care of it. If you don't take
14 care of it, it'll get taken care of in some other way. If it
15 gets neglected, it will go into one of those ad hoc solutions
16 and then we'll be unhappy about it because it really wasn't a
17 good solution. The foreclosure of nuclear powerplants would
18 not remove this need. If you stopped all the nuclear
19 powerplants today, all you would do is get your spent fuel
20 problem all at once.

21 The issue is the choice of systems among the three
22 now being considered; the ultimate repository, the interim
23 storage in a monitored retrievable storage system and on-site
24 interim storage. Each of the three can be risk acceptable.
25 They serve different needs and time horizons; decades, a

1 century, and millennia. Obviously, you can have on-site
2 storage for a decade or so, you can have a monster of
3 retrievable storage measured in centuries, and when you talk
4 about millennia, you want a permanent repository.

5 The spent fuel flow may continue indefinitely. The
6 present notion that the absence of new nuclear plant orders
7 caps the amount to store in the repository is based on
8 regulatory and cost factors that can change in the coming
9 decades. I've explained before why. If natural gas price
10 moves up substantially or the global warming that penalizes
11 fossil fuels, nuclear may become a direction of choice, as it
12 is already in several industrial countries. Thus, near-term
13 schedule accomplishment, while vitally important to the
14 nuclear utilities, is secondary to adequate long-term
15 performance of the system. So, my message there is I
16 wouldn't worry about the schedule in terms of Year X or Year
17 X+1, or Year X+2. Much more important that it be done well
18 and properly so that it can last over periods of decades and
19 a half a century or so.

20 The system chosen must be flexible. Every engineer
21 knows what that means, but I have to tell you that as soon as
22 you start writing specifications, you've removed flexibility.

23 But, you need to write performance characteristics and let
24 the designers come out with what's required to meet those
25 performance characteristics. And, after the initial trial,

1 everyone should expect that desirable modifications will
2 become evident and should be made.

3 Finally, the system chosen must place a high
4 priority on public concerns, as well as on technical issues.

5 Public worries are different than engineering worries. I've
6 worked with engineers and I've worked with the public and it
7 isn't that the language is different, it's that the worries
8 are different. An engineer looks at the failure modes, he
9 looks at probabilities of failures, he looks at the human
10 specifications, choice of materials, this type of thing. The
11 public doesn't worry about that. The public worries about
12 other things.

13 The engineer almost never listens to what the
14 public is saying because he never talks to the public. The
15 real problem is to find out what the public is really
16 concerned about or at least put yourself mentally in the
17 position of being a member of the public and what would your
18 wife and children and mother-in-law and father-in-law, what
19 would they worry about? They worry different things. When I
20 talk with my wife--we've been married 58 years. When I talk
21 to my wife about these issues, she says, well, I believe you
22 because I trust you, but that's not what I'm worried about
23 and then she gives me a long list of what she's worried
24 about.

25 So, I think that the public needs reassurance and

1 it has to be somehow their concerns have to be taken care of
2 and how it's done. I have to tell you, as a technologist, I
3 know that any one of the systems you're talking about has a
4 quantitative risk to the public that's immeasurably small. I
5 don't think there's a real technical risk in any of the ones
6 I've seen in the literature. The real difficulty is that you
7 have not been able and will not be able to make the public
8 believe all that unless you take into consideration what it
9 is they need to believe it and give them that reassurance.

10 Now, let's talk about the interim storage
11 alternatives. Interim storage at a monitored retrievable
12 storage, an MRS, or at an on-site storage are technically
13 very similar. They differ primarily on the centralization of
14 responsibility. It's a little much--you know, we've had
15 experience in this. We've always had a choice of storing the
16 nation's gold bullion, of which we have billions, in the many
17 bank vaults around the country and storing it in Fort Knox.
18 Somebody decided to store it in Fort Knox. I've never heard
19 anybody worry that Fort Knox is going to be raided by a
20 terrorist group and all the gold in the United States taken
21 away. The public has confidence that Fort Knox is a secure
22 repository. If you put it in the individual vaults of banks,
23 I don't think the public would have that confidence. But,
24 that's a choice; the gold could sit in either one. And,
25 that's the difference between on-site storage and the

1 monitored retrievable storage. On-site storage at the
2 utilities disperses the storage in many, many places and the
3 public confidence in that being secure may not be as great as
4 the public confidence in a visible monitored retrievable
5 storage. And, I think that's the biggest argument for
6 monitored retrievable storage. Technically, they're about
7 the same. The other aspect, of course, is that utilities
8 come and go. They can even go bankrupt. We, I guess a
9 little naively, assume our Government will never go bankrupt;
10 so, therefore, the Government runs a monitored retrievable
11 storage. It's safe and perpetual.

12 The difference between an eventual repository, such
13 as Yucca Mountain, and an interim storage is the series of
14 barriers between the radioactive sources of the public.
15 That's a real technical interest, that difference. It's not
16 a trivial one; in fact, probably the most important. The
17 eventual repository is a mix of natural geologic barriers
18 which are site-sensitive and man-made engineered barriers
19 which are site-insensitive. That's a key fundamental point
20 on the difference between a permanent repository and a
21 monitored retrievable storage. The interim storage depends
22 only on engineered barriers and on a short-term basis has
23 less uncertainty in the estimate public risk. It also has
24 less uncertainty from the point of view of public visibility.
25 The fact that you don't have to worry about the

1 uncertainties of nature which occur in a permanent repository
2 is a real plus for the monitored retrievable storage.

3 The proposed multi-purpose canister, the so-called
4 MPC, embodies engineered barriers based on present knowledge
5 and predictable performance for at least a century or more.
6 As a technologist, I think that's probably one of the easiest
7 of all the technical design problems is to build a multi-
8 purpose canister that can last 100 years or more.

9 All three systems share in common a need for
10 transportation some time. That is the so-called problem of
11 moving these multi-purpose canisters around the country in
12 vehicles. That problem is the same. They occur at different
13 times whether you have on-site storage, a monitored
14 retrievable storage, or a permanent repository. But,
15 eventually, they all have to be moved over the country. So,
16 that problem has to be faced. From a technical risk point of
17 view, it's trivial. From a public concern, it's a major
18 public concern and one which has to be addressed.

19 An eventual repository like Yucca Mountain must be
20 considered initially today as a development program because
21 the natural geologic barriers are complex, only partially
22 predictable, and their long-term interaction with a man-made
23 system may reveal characteristics that require physical re-
24 engineering or accommodation. Thus, for the first century,
25 the eventual repository should permit access, measurement,

1 and retrievability. The multi-purpose canister would permit
2 this and its design could substantially reduce dependence on
3 the geologic barriers.

4 What I'm really getting at here is the multi-
5 purpose canister is going to be a must anyway, whether you
6 have a monitored retrievable storage or not; that it's not a
7 technically difficult job to put together to meet all the
8 safety criteria and all the transportation criteria; that
9 even if you go to a permanent repository that for the first
10 100 years or so that permanent repository is going to be
11 itself a developmental exploration even if you think you know
12 most of the answers.

13 Let's talk about the technical aspects. The multi-
14 purpose canister and the monitored retrievable storage are
15 traditional engineering, design, and fabrication projects.
16 They obviously should be able to meet all the current public
17 risk criteria. Public perception that it does so can be
18 supported by physical demonstrations of its integrity. For
19 example, you set up railroad collisions, explosive
20 detonations. The CEGB did that some decades ago to show that
21 their transportation canisters in England stood up. They had
22 great tv exposure of a railroad train going full speed into
23 one of these canisters. The engine got totally demolished,
24 the canister didn't, and the public began to believe that the
25 canisters could hold.

1 The key long-term question relates to the eventual
2 interaction of the multi-purpose canister outer shell with
3 the geologic repository and, thus, the appropriate choice of
4 materials for its longest life and integrity. This is a
5 flexible choice if the multi-purpose canister is retrievable
6 from the eventual repository for a century or more, which I
7 believe it should be. It is not an issue for the interim
8 monitored retrievable storage where materials, such as the
9 Ductile Cast Iron or the equivalent provide a core enclosure
10 of extreme durability. This is a very minor technical
11 question. However, it would be useful to have a specialized
12 research facility at the monitored retrievable storage to
13 study the spectrum of outer shell possibilities for the
14 geologic repository. Those of you who are familiar with
15 design know that the canister has got a strong cylinder and
16 then an outer coating can be put on of any number of
17 materials to suit the geology that's found--the chemistry of
18 the geology that's found in the permanent repository. And,
19 there ought to be some research done on the options for
20 handling these things over very long-term. As you know, this
21 is being done in other countries of the world and other
22 choices of outer shells have been made.

23 The capital cost of both the canister and the
24 retrievable storage is unlikely to be as significant as the
25 continuing cost of spent fuel handling, monitoring,

1 supervision, and institutional administration. Plus, a
2 design objective should be to minimize these long-term
3 operating costs. Based on my own experience with handling
4 spent fuel and fuel elements in nuclear power stations, I
5 would say that the cost of operation and handling far exceeds
6 the capital costs of the equipment that would minimize that
7 continuous operating cost. So, I wouldn't worry too much
8 about saving money on the canister, for example, or on the
9 construction of the monitored retrievable storage. Although
10 I know it's the capital cost that always looks high on the
11 budget, the operating cost gets buried somewhere. But, I
12 think that's the wrong distribution in terms of long-range
13 application of funds.

14 The interim storage combination of the canister and
15 retrievable storage can be designed, constructed, and placed
16 in operation in a relatively short time scale compared to the
17 implementation of a permanent repository. Forget about the
18 past history. Even if you started from scratch, you still
19 would have a long time problem with a permanent repository
20 because of the unknowns that do exist in the geological
21 barrier. If you went to the monitored retrievable storage,
22 it would thus provide time for exploratory studies of the
23 geologic repository and also meet the foreseeable needs of
24 the nuclear utilities. The nuclear utilities wanted to have
25 the monitored retrievable storage as a way of getting it off

1 their sites and you'd be able to do this in a reasonable time
2 scale.

3 Most importantly, it would provide an opportunity
4 to establish public confidence in the program strategy. The
5 impression the public has now is that the Government doesn't
6 know what to do with the stuff. And, if there were a
7 strategy that said this is our plan and this is how we're
8 going to handle it, I think the public might feel
9 differently. I want to repeat the public wants to know that
10 you have a strategy for management.

11 Because interim storage in an MRS would
12 substantially relieve the performance requirements of a
13 subsequent geologic storage, it would have a permanent value
14 in any eventual spent fuel system. Now, I've read enough of
15 your literature to know that a lot of the questions being
16 asked on the permanent storage, the geologic storage, has to
17 do with temperatures, the heat dissipation, and so on. These
18 are the things that are amenable to design and engineering
19 while the casks or the canisters are in the monitored
20 retrievable storage and, if the right choices are made, it
21 can reduce the physical demand requirements on the permanent
22 storage. So, there's a system flexibility. What I'm talking
23 about, of course, is looking at the total system problem,
24 starting with the spent fuel coming out of the nuclear
25 reactors, then going all the way to the permanent repository,

1 but looking at how you optimize the design of that whole
2 system, not just one piece of it.

3 Now, I'm going to end up with the importance of the
4 nuclear industry. The disposition of spent fuel has
5 obviously become the Achilles' heel of the nuclear power
6 industry. Some nuclear utilities are facing this issue today
7 and eventually all must. It is both an economic and
8 managerial issue. It cannot be avoided, even though it may
9 not be as immediately urgent as current operating costs and
10 regulations. There are many nuclear utilities that really
11 believe the Government is going to take this off their hands
12 in the next few years. I don't happen to believe that, but
13 many nuclear utilities believe it. They're much more worried
14 about their daily operating costs, not about this issue. I'm
15 giving them a message saying they're going to have to worry
16 about it and worry about it soon; they might as well
17 recognize that.

18 The performance of other countries in implementing
19 spent fuel repository systems suggest that our difficulties
20 are institutional rather than technical. You're going to
21 have a session on this later on. I read this report of the
22 Board that was put out last year about its visit to other
23 countries. If you read the details, you find everybody has
24 got headaches, but they're going about managing these
25 headaches without going through the dance that we're going

1 through in this country. And, not all their solutions are
2 perfect, but most of them are along the lines I've indicated.
3 They're going in for retrievable methods and they're going
4 in for methods which are probably good for a couple of
5 hundred years.

6 The present Federal Government commitment to assume
7 this responsibility unilaterally has been difficult to
8 fulfill. As you know, that's an understatement. The split
9 of responsibility and authority among the several Federal
10 agencies involved has resulted in discordant views,
11 objectives, and implementing tactics. While the agency is
12 sympathetic to the utilities' needs, realistically they have
13 only weak political pressure to meet schedules or operating
14 targets. Their only persuasive client is Congress and its
15 committees.

16 I've worked with the Federal Government over these
17 40 years and all the changes that's gone on in the nuclear
18 business starting with the Atomic Energy Commission's early
19 days, and once you get a bureaucracy set up in the Federal
20 Government with the best of people and the best of
21 intentions, their real boss is Congress and the Congressional
22 committees. It's not the public, it's not the members of the
23 industry, it's not the individual people concerned with
24 radiation hazards. They try to do all these things the best
25 they can, but finally the rules are being set by Congress and

1 its committees. And, this makes it very difficult. One of
2 the obvious things, I think, is that I would hope that the
3 new Secretary would consider working with the other agencies
4 and finding some single group in the Government to which this
5 problem could be addressed.

6 As the most vulnerable stakeholder, the nuclear
7 industry should now seek an active participative role in this
8 program to protect itself against the real possibility of an
9 indefinite lack of progress while the industry bears a
10 continuing burden. I was involved in all the discussions
11 that went on when the tax on nuclear power was established to
12 pay for these programs. I, on record, argued against it on
13 the basis that the industry should not abrogate its
14 responsibilities. It's no hidden secret that the industry
15 was glad to have the Government take this off their
16 shoulders. Some of us, myself, said in that way the industry
17 lost control of getting the job done. I think the industry
18 now has to do something to at least become an active
19 participant. That may be beyond the recommendations of this
20 Board.

21 Now, my final comment are the ideological issues.
22 Nuclear power continues to grow worldwide. The eventual
23 storage of spent fuel will be a global necessity for the
24 foreseeable future as a key part of the back end of the
25 nuclear fuel cycle. It is relevant that most nuclear power

1 countries have incorporated interim storage in their total
2 spent fuel system. This topic has been subjected to much
3 ideological debate based on imaginative scenarios of
4 potential environmental security threats. Regardless of
5 their merit, these concerns must be allayed in the political
6 debate establishing a U.S. national strategy for the next
7 half century.

8 Well, these are very general comments. I'm sure
9 many of the members of the Board are familiar with any or all
10 of these matters and I'd be happy to answer any questions you
11 have.

12 DR. PRICE: Thank you. Questions from the panel
13 members?

14 DR. CANTLON: I'd like to have you comment on two issues
15 I didn't hear you touch on. One is the desirability of
16 standardizing the MPC as opposed to having several different
17 types. And, the second one you didn't comment on is the
18 perceived linkage between a viable repository and the problem
19 of both on-site storage and siting the MRS; the perception
20 that on-site storage is forever or that an MRS might be
21 forever. Could you comment on those?

22 DR. STARR: Yes. Let's talk on standardizing first. I
23 believe that it is important for economic reasons, if nothing
24 else, that there be a standardized canister. I would suggest
25 that the utilities who have to handle these things and the

1 various proponents of different designs get together and come
2 out with one. As a technologist, I think that's a simple
3 problem. To put in a canister that would last several
4 hundred years, knowing what spent fuels are like, what their
5 leakage rates are and their failure modes and so on, this is
6 really technically very, very easy. You're dealing with a
7 system which has no inherent stored energy. It's a sealing
8 problem. I think that's almost routine. So, I say
9 standardization is right because if you don't have it, then
10 just the economics of the system and the fact that the
11 monitored retrievable storage has to handle multiple systems
12 gets to be expensive and awkward. And, I'm all for
13 standardizing.

14 Now, as I've indicated in my comment, I don't
15 conceive the permanent repository chosen today as being more
16 than an experimental permanent repository. Not that you
17 might want to move it, but you're not going to want to seal
18 it as a permanent repository because you will never be able
19 to be sure of all the geologic interactions with the
20 canisters without measurement, without observation. So, it's
21 going to have to be retrievable. So, the question is how
22 fast can you make an retrievable underground housing versus
23 an above-surface? Well, I've pointed out why I think the
24 above-surface could go faster because it's an engineered non-
25 geologic issue. I have great confidence in being able to

1 build a repository for hundreds of years above the surface
2 under complete engineered systems rather than have to worry
3 about proving through all our mechanisms of abstract hearings
4 and so on that an underground repository can be done. In
5 either case, they're going to have to be retrievable
6 certainly for--for certainly a century or so.

7 DR. PRICE: Other questions?

8 DR. NORTH: I'd like to ask you to comment a little bit
9 more explicitly on the systems analysis and Probabilistic
10 Safety Analysis aspects, together with the observation by our
11 Board of a problem that various people are working on who are
12 here in this room and will be talking later in the meeting,
13 the relative lack of achievement of the Department of
14 Energy's program to do the overall systems analysis.

15 And, the comment I'd like to have you expand on is
16 your Section 4, No. 4, the utility industry taking a more
17 active role and comment particularly on what the nuclear
18 industry might do in filling in this need for a better
19 overall systems analysis.

20 DR. STARR: Well, let's talk about system analysis. You
21 have to look at the total issue of the public benefit of a
22 choice of a system and relative to what the public invests in
23 getting such a system. As you know, one of the problems of
24 risk analysis is money spent on reducing a public risk to
25 some very small value in something is money taken away from

1 investment in something that's a higher public risk. This
2 allocation of national resources, no matter who spends it, is
3 the key issue. So, what you'd like to do is have a spent
4 fuel storage system which puts the minimal demand on the
5 total public national resources and gives you the most in
6 terms of public safety relative to some other application of
7 that.

8 Now, to do this, you have to look at the whole
9 system. You have to look at an effect starting with the
10 spent fuel handling at the nuclear utility which represents
11 the public pays for everything, sooner or later, through
12 rates. So, the cost of handling on-site and then the cost of
13 an MRS as an operating thing, eventual storage in a permanent
14 repository, the cost of all that development, you have to lay
15 out a system strategy from beginning to end. I have never
16 seen that. I've gone through the literature and I still
17 haven't seen it. I notice that in the last report of the
18 waste board, the summary executive comment, asked for that,
19 but I've never seen it. Don't ask me why the DOE hasn't done
20 it. I understand about bureaucracies and I'm not here to
21 restructure the DOE. Each part of the deal has got a job to
22 do, but the total system picture I haven't seen. And, that
23 analysis of this really hasn't been done. So, I think that
24 the question of that task is a key one.

25 Now, eventually, the public is going to pay for all

1 of this. If it doesn't do it directly, it's going to do it
2 indirectly through electric utility rates in our present
3 structure. So, I think to answer the second part of your
4 question, I think it was a big mistake for the nuclear
5 utilities--I can tell you the date; roughly, it was about I
6 think '73 or '74 when the bill was passed for the tax and so
7 on. It was a big mistake for the utilities to hope that the
8 Government would take the spent fuel storage problem off
9 their shoulders. I think they've got to get back in because
10 they're the ones that are going to have to collect the money
11 to pay for it and I think, at this late date, you can't
12 displace the Government because the Government has the
13 responsibility for the reason I mentioned before.

14 The public thinks the Government is going to be
15 here forever and I don't know about the lifetime of
16 utilities. So, it's got to be a partnership and I think that
17 the utilities up to now have been putting up the money. The
18 Government has been spending it, but the utilities have had
19 very little to say about what's going on. I think that's a
20 strategic error for the utilities and a strategic error in
21 the laying out a really optimal strategy for the country.

22 DR. NORTH: So, I interpret your remarks as strong
23 encouragement for the electric utilities to take a proactive
24 role in the strategic planning and the total systems
25 assessment.

1 DR. STARR: Very well stated.

2 DR. PRICE: Other questions from the panel members?

3 (No response.)

4 DR. PRICE: Just a moment for someone from the staff?

5 DR. CHU: Yes, Dr. Starr, I gather that it's your
6 opinion that the design and the development of the MPC is not
7 a very large technical challenge in your mind, and I think to
8 most people to design something that you can use for storage
9 and transportation, they would readily agree. My question is
10 that, for some, they believe that there are great
11 uncertainties as far as incorporating considerations vis-a-
12 vis disposal, that is the geology. Would you comment on
13 that?

14 DR. STARR: Well, I have my own conceptions of the MPC,
15 but I'm sure it's going to turn out this way. One is that
16 you have a canister that you use for transportation and
17 interim storage in a monitored retrievable storage that's
18 good for a couple of hundred years under controlled
19 atmospheric conditions, under constant supervision, and so
20 forth. And, that is about as routine an engineering job as
21 one can design. So then, I can conceive of a second shell
22 outside of that which would be designed to match the
23 geophysical characteristics that are found in whatever you
24 want to have as a permanent repository. And, that during the
25 period while the MRS is in operation, one can carry on this

1 experimentation. You can carry on the measurements and the
2 observations on an underground site to find out what the
3 geology really does, what water rates are, what various
4 leakage rates are, and so forth and so on, and determine what
5 that outer shell, that second shell that goes over the
6 canister, is going to be. There are great varieties. There
7 are different metals. There are ceramic materials, a huge
8 variety of materials; many of them which we know will last for
9 millions of years under the right geologic circumstances.
10 So, you have to know what the geologic circumstances are.

11 So, that's the reason I'm suggesting that there be
12 a--next to the monitored retrievable storage there be a
13 laboratory for actually running a variety of second coatings
14 to test out conditions which are found in the geophysical
15 situation.

16 DR. PRICE: Thank you very much, Dr. Starr. You've
17 touched our hearts in a couple of places and we really
18 appreciate it. Thank you.

19 Our next speaker is the author and originator of
20 "The Aztec Princess" and he's got a tough act to follow.
21 Robert Bernero, Nuclear Regulatory Commission.

22 DR. BERNERO: I'd like to speak from this location in
23 order to handle the viewgraphs here. Basically, the subject
24 here is spent fuel storage, but I think one has to take an
25 integral view and Dr. Starr in his remarks was taking an

1 integral view. You're really talking about spent fuel
2 storage in a context of storage, transport, disposal, the
3 entire system needs. And, I'd like to speak to those in a
4 given order here.

5 First, I'd like to say a few words about the safety
6 of long-term storage and the safeguards distinguishing
7 sabotage or malevolent activity from safety which is natural
8 forces, corrosion, or whatever else might happen. And then,
9 I would like to give you a status of our regulatory program
10 for storage and transportation. I'm leaving out the waste
11 disposal because I think it diffuses the issue too much to
12 try to fold it all in. But, using some examples of what we
13 have for storage and transport review and certification, I
14 would like to raise some of the technical issues again and
15 use real examples to illustrate what we're talking about.

16 Now, you're heard remarks already this morning, as
17 you should, about the system and system analysis. This
18 slide, I used it quite a few years ago--I think it was 1989
19 --with our Commission. The chairman of the Commission at
20 that time was Admiral Zech. And, Admiral Zech thought that
21 it was just absurd not to have a standard package, cradle to
22 the grave. He said why don't you approve storage, transport,
23 and disposal all in the same package? And, I made this
24 little cartoon and illustrated it to him and the Commission
25 and one of the difficulties you have here is what is the

1 system?

2 Now, depending on your perspective, you could be
3 taking power generation or nuclear power generation as the
4 system or, as we're talking about here, spent fuel management
5 or high-level waste management as the system. And, as you
6 can see from the boundaries on the illustration, no one is in
7 charge of the whole system. The utilities individually
8 control the left hand side of the system as it exists today
9 and the Department of Energy controls the repository and MRS
10 programs, insofar as they can. And, I would point out to you
11 that if you speak of this as a high-level waste system,
12 reactor spent fuel isn't the only high-level waste. The
13 Department of Energy has what I like to call the cats and
14 dogs. That they have to look at all of their sites and they
15 have vitrified logs from defense waste, they have Hanford and
16 reactor spent fuel which really kind of falls outside of this
17 framework. They have a variety of research and test reactor
18 spent fuel. They have Naval reactor spent fuel and on and
19 on. Perhaps not very large in quantity, but certainly
20 diverse and certainly part of a system. So, if they are
21 going to do responsible system analysis, they have to do all
22 of it. I find it tantalizing, the NRC has in this system
23 here, the spent fuel system, we have regulatory jurisdiction
24 over all these elements, but we are not the system engineer
25 and that can be very frustrating.

1 Now, we all speak of spent fuel and here's a
2 typical spent fuel assembly. You have a picture of it in
3 your handout and I use the word advisably, typical spent fuel
4 assembly. I think it is unfortunate that many people who
5 speak of spent fuel think that one cookie cutter has been
6 used to make every one of these things and that is far from
7 the truth. Most of them look like that, but here is a list
8 of what sort of spent fuel actually exists now out in the
9 public arena in the utility spent fuel pools. And, if you'll
10 look at that, it is not simply that PWR fuel assemblies, in
11 general, are 2.4 x bigger than BWR fuel assemblies; there is
12 quite a wide range.

13 Admittedly, most of them are around what one might
14 call standard commercial spent fuel, but there are outliers.

15 If you look, you have outliers at the short end. Some of
16 the early boiling water reactors had very short fuel. And,
17 in the modern reactor you have an outlier at the high end.
18 The plant is in Texas. It's called South Texas and it's
19 modeled on a French reactor and there it is; two feet longer
20 than anyone else. So, not to mention the cats' and dogs'
21 wastes, the system engineer has to look at this entire
22 spectrum. If you're going to standardize, you have to
23 standardize in such a way as to accommodate these.

24 Now, let's talk a little bit about the safety of
25 long-term storage. Basically, in order to understand the

1 safety of long-term storage and what the NRC has said in this
2 finding I refer to, recall that the NRC was challenged back
3 in the 1970s with what I would paraphrase as the following
4 question: How can you possibly issue licenses that, through
5 exercise of that license, generate high-level waste since
6 there isn't an obvious solution for disposal of the high-
7 level waste? And, that led the NRC--it was a Court suit,
8 ultimately--and, it led the NRC to what is called the waste
9 confidence finding; in essence, a way to say how sure are we
10 that there will be in some appropriate time a high-level
11 waste disposal system that is acceptable and, in the
12 meanwhile, is it safe? Can one store spent fuel in the
13 meanwhile without undue risk to the public health and safety?

14 That original finding was published in 1984 and I
15 will not go into those aspects of it about why there was
16 confidence in the ultimate availability of the high-level
17 waste repository; although, I will say that now we're not
18 talking in a few years this way or that way. For this kind
19 of institutional development, you're thinking in decades, not
20 in a few years at a time. And, at that time, the Commission
21 said reactors are typically licensed for 40 years and, if we
22 look at it technically and assume institutional delays are
23 such that you would have the spent fuel still there for 30
24 years later, there was a conclusion drawn that for 40 + 30
25 years, or at least 70 years, there is no apparent technical

1 problem. I think Dr. Starr put it, these are simple, fairly
2 low temperature, passive, static systems and one does not
3 envision rapid corrosion rates or anything like that to
4 threaten.

5 In a 1990 modification or reconsideration of that
6 decision, the Commission was then actively considering the
7 possibility of renewing operating reactor licenses and that
8 raised the question of a possible perhaps as much as 30 more
9 years of operation; just assuming for the moment a license
10 renewal for 30 years and then that institutional 30 years
11 afterward. So, one could envision at least 100 years. Once
12 again, the Commission concluded that there is no corrosion
13 rate or threat in such a way as to say that this would be
14 unsafe storage. The engineering is straight forward. In
15 neither case is this a limit. It is not a statement that
16 they can be stored for no more than 100 years; it is that
17 it's safe for at least 100 years which is a very important
18 distinction.

19 Now, the Commission's findings were again very
20 similar to what Dr. Starr was saying. We have a lot of
21 experience, decades of experience with wet storage. We had a
22 good understanding of the temperature. The decay heat curve
23 of spent fuel is such that many of you know that after a
24 certain time, you can actually hold it in the air and it will
25 air cool. When it's fresh out of piles, some spent fuel can

1 actually melt itself it's so hot. But, as the decay heat
2 comes down, you get to self-cooling or passive cooling and,
3 basically, from that experience and from a lot of safety
4 analysis, the Commission was able to conclude that long-term
5 integrity was predictable; static systems and long-term
6 predictability.

7 Now, we also looked at risks from accidents or of
8 sabotage. Now, a few words first about the accidents. If
9 you look at any spent fuel management system, one of the
10 first characteristics that strikes you is that they are large
11 robust systems. They have to be shielded. The gamma
12 radiation from spent fuel is very considerable, even after
13 the heat has died down quite a bit. And so, you have to have
14 very thick shields. Steel, depleted uranium, concrete,
15 water, whatever it is, you have to have very thick shields
16 and they are provided in very robust structural systems. As
17 a result, if you look at it, you have in older spent fuel--
18 again, I emphasize older; not fresh out of pile fuel, but
19 older spent fuel--you have robust systems that are inherently
20 resistant to natural forces or accident forces or malevolent
21 acts and you don't have a driving power like something that
22 will generate a lot of gases or temperature pressure driver
23 because the decay heat is down fairly low. And, as a result,
24 you're resistant to accident forces. The system is
25 inherently robust.

1 Now, one thing that is still on the table is that
2 the consequences of a large-scale explosive attack should be
3 considered. Just recently--well, you know, early this year,
4 I think you all remember the World Trade Center was bombed
5 almost a year ago. What was it, December, I think--November
6 or December of '92. The World Trade Center was bombed when
7 someone apparently left a van containing explosives in the
8 parking garage of the building. It was apparently a
9 malevolent act. The trial is still going on. Very severe
10 damages was done to the buildings and several people were
11 killed.

12 Almost coincident with that at Three Mile Island
13 Nuclear Powerplant, there was an incident that led to no real
14 harm, but was very disturbing. A person of unpredictable
15 behavior took his mother's car and, on a Sunday morning,
16 weaved right past the entrance gate, drove through a fence,
17 imbedded the car through a roll-up door into the turbine
18 building. And then, that individual abandoned the car and
19 ran and hid and it took hours to find him. He was hiding
20 under the main condenser in the turbine building. Now, that
21 person did not cause any significant damage to the powerplant
22 and, in retrospect, did not constitute a real threat. He
23 wasn't carrying bombs or guns or anything like that. But,
24 the fact remains that person was able to drive a Plymouth
25 Reliant station wagon, which is not a large armor penetrating

1 vehicle, and he was able to drive it right through the fence,
2 right through the roll-up door, and get into the turbine
3 building.

4 As a result, the NRC really asked itself whether
5 terrorist threats using vehicle bombs may not be an
6 appropriate addition to our consideration for nuclear
7 facilities. And, as a result, we have come out with a
8 proposed rule to change the design basis threat for nuclear
9 powerplants to include in that threat consideration of
10 explosive laden vehicles where the purpose would be to haul
11 in significant quantities of explosives, get it close enough
12 to the vital areas of the powerplant, and set it off.

13 We are also studying as a part of that a similar
14 attack on spent fuel. Now, in a nuclear powerplant, you're
15 talking about a building or a room, say, that contains a
16 functional diesel generator and what we're comparing now is
17 what would be the relative effects of an explosion on a spent
18 fuel storage system. When we show pictures of those, I'd
19 like to raise that point again. But, that is being
20 considered and you may expect to hear in the coming year of
21 the results of it.

22 Now, let me talk about the status and point out a
23 few things here that I think are significant. There are not
24 many approved spent fuel transportation casks in existence.
25 And, they range from small things like the NLI 1/2 and others

1 that really are truck casks. They can carry one pressurized
2 water reactor assembly or two boiling water reactor
3 assemblies. They range up to these two large ones here that
4 are rail casks. The NLI-10/24, 10 PWR or 24 BWR assemblies,
5 to my knowledge has never been used. That is a very large
6 cask. I'll show you a picture of this one and this one here
7 had such a large load that it was going to be used if we had
8 fuel reprocessing. It was never completed.

9 This one though, the IF-300, only four of them are
10 in existence, but it is one that has been widely used in
11 industry. I'll show you a picture of it and there's a very
12 important system point I want to make with it. It contains
13 seven PWR or 18 BWR fuel assemblies which sounds like a
14 generous compliment, but that isn't. By way of example, let
15 me point out to you the shipments are going on right now as
16 we meet here. The Shoreham Nuclear Reactor which is not the
17 largest sized reactor--it was to be about 850 mega watt
18 electric--it's being decommissioned and it's initial core,
19 just one core, was slightly used and is being send to the
20 Limerick Plant in Pennsylvania for reuse. They are able--
21 they're trying to preserve that fuel for reuse. So, they
22 have modified the internals of this cask to carry 17
23 assemblies per shipment. Just for one core, it takes 33
24 shipments of that cask. Thirty-three shipments and that
25 leaves one assembly left over. I've been meaning to find out

1 how they're going to get that one there. Make a special trip
2 for it or put it in the back of a station wagon. This fuel
3 is not used very much, at all. It's very, very low burnup.
4 It was used only for low powered testing. But, the point I
5 make is the sheer numbers of fuel assemblies are staggering.

6 Truck shipments can supplement, but there is a system
7 pressure to have bigger and bigger and bigger casks. Get as
8 many assemblies as possible into each shipment and that's
9 going to be a significant factor throughout the system
10 analysis of spent fuel storage and especially transport.

11 Now, let me show you an example. This is the NLI
12 1/2 cask and it's a truck cask. As you can see, it's fairly
13 large, but it holds only one pressurized water reactor
14 assembly or two boiling water reactor assemblies and there
15 are several aspects of it that are noteworthy that you can
16 see in this picture. One is you put a cage around it, an
17 overpack, because one controls the environmental impact due
18 to direct radiation. That's a shielded cask, but it still
19 has a significant measurable radiation exposure at the
20 surface. So, in order to meet constraints for shipping--you
21 remember, you're out in the public with this vehicle, this
22 truck--it has to have a cage around it to keep people from
23 getting up against the cask. You know, getting the radiation
24 that goes with it. The cask also has a fairly robust
25 construction because transport, in general, is the most

1 challenging of all the environments. You have to be able to
2 take accidents.

3 Dr. Starr mentioned the British test of--the high
4 speed train coming down a straightaway and going into one of
5 these casks. In 1977, the Department of Energy sponsored out
6 in the Albuquerque or New Mexico desert, a series of tests
7 with old solid fuel rockets where trucks or trains were
8 rocket propelled into one another or into concrete abutments
9 and there were very spectacular tests where nothing survived
10 except the casks. I mean, the trucks disintegrated and the
11 railroad locomotives fell apart, but the casks are extremely
12 robust.

13 But, if you are going to have robust devices, you
14 have to look at the accident environments and consider other
15 things besides collision. And, among other things, there are
16 technical controversies that do come up and it is a very
17 significant factor that in the regulatory analysis of a
18 transport cask, we assume that after a collision, it may fall
19 in water. The ends, the seals, the mechanical closure can be
20 sprung somewhat. It's tolerable to have some leakage, but we
21 also assume that water can get in. That moderator can get
22 into the contents of the cask and, therefore, if criticality
23 could occur, that would be unacceptable. As a general
24 implementation of Part 71, the design of the cask is such
25 that you must assume moderator gets in and the cask is still

1 sub-critical.

2 In a similar vein, the question comes up what
3 burnup do you assume of the fuel? And, burnup credit is a
4 current issue with the Department of Energy. We have not
5 allowed burnup credit in our criticality analysis for a
6 variety of reasons, mostly predictability, and the question
7 of how to deal with end effects because burnup is greatest
8 over the span of the fuel, but the ends are not really burned
9 up. And, just visualize if this thing were in the water and
10 had a foot or two of water in it and you picked it up by one
11 end to take it out of the creek bed and all the water goes to
12 the other end, the end could be a critical assembly.

13 So, there are two issues here that are prevailing
14 out into the questions of multi-purpose casks, as well as
15 single-purpose casks, and they are moderator getting in and
16 how to deal with burnup credit.

17 And, I would add something to what Dr. Starr said.
18 He said--said it several times--that the engineering is
19 straight forward and I agree with that as long as you know
20 what you're trying to build. It's the system specification
21 that's the hard thing, not the system implementation. And,
22 that is especially true with transport.

23 Now, here is the trend to the larger cask. This is
24 the IF-300. It's a rail cask shipped on a railroad car.
25 This is the one I mentioned that's going from Shoreham to

1 Limerick. It takes about a week or a little bit more than a
2 week to complete a shipment. It goes onto a barge at
3 Shoreham, goes around Montauk Point at the end of Long
4 Island, and comes down to Cape May and up the Delaware River
5 to Eddystone, Pennsylvania where it's put on a rail and
6 brought up to the Limerick Plant. This is large. That's a
7 very heavy cask. That table early-on shows you and the
8 system pressure, if anything, says that's not big enough.
9 You need something bigger. And so, systems that are being
10 examined for rail or barge shipment now are even much, much
11 larger than that.

12 When you get to spent fuel storage systems, the
13 range of alternatives is rather broad because, remember here,
14 one is talking about passive storage at reactors or elsewhere
15 for that matter. The vault at Fort St. Vrain, one of those
16 is in existence now. It's a very large concrete building and
17 it simply holds the spent fuel in long slender cans. The
18 fuel assembly for a gas-cooled reactor, such as Fort St.
19 Vrain, is not a tall skinny fuel assembly like the typical
20 one I show. They are shorter and they're sort of block-like
21 assemblies, and they're stacked several in a can, and the
22 cans are hung like a long spent fuel assembly. There are
23 casks that is a large, almost monolithic, generally steel
24 structure, such as the Castor V/21 and so on. Then, there's
25 another family of designs called the canister assembly.

1 We're getting to the need for common terminology.
2 I've talked to Lake Barrett about this. That what we ought
3 to do is when it's a simple metal container essentially
4 holding nothing but the spent fuel in some kind of a grid,
5 call it a canister. A canister then may be put inside of a
6 cask or some other assembly, such as a concrete structure,
7 either a cylindrical or a horizontal concrete structure, and
8 I'll show you a picture of some of these because they bring
9 in other design considerations, other system considerations.

10 Many of these designs are in use now and others are coming
11 on line in the near future.

12 Here is the first site where spent fuel storage
13 casks were licensed. This is the Surry Plant in Virginia. I
14 believe many of you have visited that. It's across the river
15 from Williamsburg. And, this is the typical deployment of
16 spent fuel casks where you basically just have a concrete
17 paved parking lot. In the case of the Surry Plant that's,
18 oh, probably, a quarter mile or a half a mile from the
19 reactor itself because the reactor occupies sort of a
20 peninsula by itself, but you know, basically, it's just a
21 yard. You can see the security fence running around the
22 perimeter and the security lights here. And, it has paved
23 strips so that a transporter, such as this, that A-frame, is
24 simply a way to carry a large cask vertically, a foot or so
25 off the ground. It's rubber-tired. And, you could drive out

1 here from the reactor when the cask is loaded and just set it
2 on the pad. That's the typical deployment.

3 I might take you back for a moment to that vehicle
4 bomb threat that we're evaluating. Basically, you look at
5 this and say if somebody had a truck laden with explosives,
6 where would he go and how would he set it off and what casks
7 would be affected and how might they be affected? These, of
8 course, are all metal casks. They're heavy metal structures.

9 This is an example of the concrete assembly. This
10 is with the three containments. This is the Oconee Nuclear
11 Station and it uses a canister--basically, a metal can full
12 of spent fuel carried out in a temporary shield and then a
13 plunger is used to push the canister off its shielded truck
14 into one of these horizontal bays. This concrete structure
15 then is the temporary storage assembly and the cartoon may
16 illustrate it a little bit better. The cartoon shows you
17 that the canister is actually suspended on sort of a track
18 inside. It's bathed in air, natural air convection cooling.

19 The air comes in down here, goes around, and comes out the
20 top. It has shielded doors. And, later on, one can speak of
21 a canister not only coming out back into a temporary shield,
22 but it would be a shipping shield, an overpack. People
23 generally use that word "overpack" for whatever might be used
24 to receive this canister, this dry canister, for either other
25 storage or for shipment. And, when you get into the multi-

1 purpose, that concept takes off.

2 Now, we have some dual- or multi-purpose cask
3 designs that are under review and/or discussion and I would
4 like to make a point. The benefits--I just list the one
5 here, minimize fuel handling. Benefits are not to make it
6 safer or more secure from sabotage or something like that.
7 The benefits are system or programmatic benefits, whether
8 costs or whatever factor, of minimizing fuel handling. We
9 have done radiation exposure analyses of the fuel handling
10 associated with loading and unloading, one of those bunker
11 designs like I showed you; in fact, the one for--and there is
12 very little worker radiation exposure involved in an
13 incompatible system; in one where you go into storage and
14 then to ship you have to come out and cut it open and put it
15 into a transport cask. There's very little additional
16 radiation exposure involved there.

17 The real benefits here are programmatic. For
18 instance, at the Rancho Seco Nuclear Plant--I think you're
19 going to hear more about this before this meeting is over.
20 At the Rancho Seco Nuclear Plant, there is a fair inventory
21 of spent fuel from about 10 years reactor operation and a
22 desire to decommission the reactor and not hang around with a
23 spent fuel pool. And so, there's an incentive to have a
24 concrete bunker canister storage system that is amenable to
25 dual-purpose, both storage and shipment; sort of a free-

1 standing capability. So, you can have a dual-purpose
2 satisfying transport and storage regulations or now it's
3 evolving that the term "multi-purpose" is applying to all
4 three.

5 So, the multi-purpose canister is speaking of Part
6 50 for Disposal, as well. So that one would envision a
7 canister, a metal can, containing essentially only the spent
8 fuel in some kind of a grid, and that can would have three
9 overpacks. One configuration of overpack is for storage,
10 another configuration for overpack is for transport, and a
11 final one is the 1,000 year can for disposal or whatever is
12 needed for disposal. But, that is the vision that's
13 currently talked about.

14 Now, we have a dual-purpose design under review,
15 the NAC storage and transport cask, and we now have the new
16 NUHOMS-MP 187. That's the one I was alluding to for Rancho
17 Seco. So, these are the dual-purpose concept. We are
18 meeting with DOE on the multi-purpose concept.

19 The dual-purpose cask, the NAC, is a traditional
20 cask design. We should complete this transportation review
21 and then the transportation review dominates the
22 consideration. So, the storage review will catch up to it
23 and then that we expect to have a final design approval for a
24 combined storage and transport cask. The NUHOMS is this
25 horizontal storage module as an overpack. We've had meetings

1 with them. We have applications. And, the issue here is a
2 transport overpack. It's something like a shipping cask
3 modification that is adaptable or amenable to using the
4 storage canister.

5 And lastly, and the one I think we all clamor, we
6 enjoy clamoring to DOE why don't you do your system analysis
7 and Lake and the others have a lot of work to do in system
8 analysis. But, basically, it is a sealed canister with
9 different overpacks for storage, transport, and disposal.
10 And, perhaps, the most significant system analysis, as I see
11 it, that's needed is a systematic address of what are the
12 benefits to be obtained by this marriage of convenience, by
13 this homogenization, this standardization? What are the
14 benefits to be obtained and what are the penalties? What are
15 the prices? Because there are many things that can limit
16 your options at the design interfaces. There's one example I
17 like to give to DOE and, sooner or later, we have to address
18 it. And, that is, being familiar with the high-level
19 disposal program, I know that the Yucca Mountain Repository
20 has as one of its current design features what some people
21 call the "hot hole" concept and that is that the thermal load
22 of the disposal package and the spacing of the holes for the
23 disposal package is such that one controls the heat output
24 and thereby the temperature of the repository to maintain the
25 hole or emplacement well above the boiling point of water for

1 hundreds and hundreds of years. It's a deliberate design
2 feature.

3 One of my favorite questions is if you make a
4 multi-purpose canister and the system pressures are what I
5 said they are--bigger, bigger, bigger, bigger; put, you know,
6 two dozen or three dozen assemblies into one can--don't
7 forget the standard can will be made in serial production and
8 Serial #486 will be sent to Cooper Nuclear Station and that
9 is an old boiling water reactor with relatively low burnup.
10 And, Serial #487 will go to Arkansas Nuclear One which is a
11 pressurized water reactor with perhaps the highest burnup in
12 the industry. And, both of them will have to go into the
13 repository and, remember, with the hot hole concept, you're
14 not setting a thermal limit, you're setting a thermal
15 control. Now, how much thermal control do you have if one
16 package is filled at Cooper Nuclear Station and the next
17 package is filled at Arkansas Nuclear One? So, it's system
18 issues. What do you gain and what do you give in system
19 tradeoffs? And, that's the system analysis that I think
20 everyone is looking for.

21 With that, I would like to stop and take questions,
22 if you wish, now.

23 DR. PRICE: Thank you. Questions from the Board?

24 DR. NORTH: I have one detailed question I'd like to ask
25 relative to the exercise you're doing looking at the

1 explosives in the vehicle. Are you also considering an armor
2 piercing shell as another threat that might be used instead
3 of or in combination with the explosive loaded vehicle?

4 DR. BERNERO: We're not looking at it now, so much as
5 just reviewing what we did before. In the late 1970s, we did
6 a study called transportation in the urban environment. In
7 that study, we--actually, the urban environment in that study
8 was New York City and it was spent fuel, oddly enough, that
9 we were thinking of. We assumed a truck cask driving right
10 through Manhattan and postulated that some malevolent persons
11 modified a Coca-Cola truck or something like that--you know,
12 a beverage truck with the roll-up sides--and just came along
13 side the spent fuel truck and fired an anti-tank weapon right
14 through it. And, we did research and analysis in those days
15 and, even that, an anti-tank weapon. We did evaluate it.
16 There are both classified and unclassified versions of that
17 work accessible to the Board, if you wish. At the time, the
18 concern was what led us to safeguard--track spent fuel. As
19 you probably are aware, we track all spent fuel shipments.
20 But, that work showed that the source term or release, even
21 where you can vaporize the fuel, due to the energy in the
22 shaped charge, is so localized it was not the really
23 catastrophic effect. So, we're looking at that again. But,
24 what we're looking at here is more the big blast effect; you
25 know, the sheer bulk explosion rather than the

1 concentrated anti-tank.

2 DR. NORTH: Yeah, my concern stems from my visit to
3 Surry where I asked that question there and was told, yes,
4 with an armor piercing round, you could put a hole in one of
5 those canisters, but that basically the material wouldn't go
6 anywhere. The threat would be very localized. And, the
7 question I'd like to see somebody look at is supposing a
8 terrorist group has an anti-tank round and can blow a hole in
9 each canister and then they have a truck full of explosives
10 that they subsequently detonate, can they spread enough of it
11 around to cause a serious problem?

12 DR. BERNERO: Well, we did the damage assessment for the
13 anti-tank weapon back--as I say, it was about '77 or '78 and
14 we have that information available to the Board, if you wish.

15 DR. NORTH: We'd like to look at it and also subsequent
16 efforts when they're available.

17 DR. BERNERO: Um-hum, yeah.

18 DR. PRICE: Other members of the panel?

19 (No response.)

20 DR. PRICE: Staff?

21 DR. BARNARD: Bob, given your knowledge and intuitive
22 feel for the waste management system, how much more difficult
23 do you think it will be to design a multi-purpose rather than
24 dual-purpose canister?

25 DR. BERNERO: Well, I think what I said before, Chauncey

1 is right. When you know what you're trying to design, the
2 engineering is very straight forward. In the high-level
3 waste repository, of course, you are talking about a 1,000
4 year package and corrosion rates and so forth. But, the real
5 thing, the real difficulty, is the specification. Exactly
6 what is it? Is it a 24 assembly, humongous thing, that's too
7 big to turn in the repository tunnel or is it a small
8 package? And, basically, the concept as envisioned or
9 presented to us is separating the interface by saying I will
10 have a handling canister, a multi-purpose canister, and the
11 disposal package is an overpack. And, you know, I see that
12 as a possible uncoupling, but again the specification is the
13 tough part. What is it, what's in it, and don't forget the
14 cats and dogs. Because everything you conclude in high-level
15 waste, if you're standardizing, you have to say, well, what
16 about the other pieces, the other bodies of waste that have
17 to go in there?

18 DR. CANTLON: The U.S., in none of the reports that I've
19 seen have talked much about fillers in the fuel assemblies to
20 either slow up corrosion or protect them. And, if you look
21 at Chauncey Starr's model, if you want to have a repository
22 that is in a sense an underground interim storage system
23 amenable to looking at even several hundred years in the
24 future, then some stability on those assemblies might be a
25 very worthwhile investment. As he was saying, the amount you

1 put in early-on is not really the cost of the system; it's
2 all of the details of undoing a bad design. Why is it that
3 the U.S. system has not really addressed fillers, at all?

4 DR. BERNERO: Well, are you referring to fillers in the
5 hole; you know, bentonite or something like that?

6 DR. CANTLON: No, no, no. Fillers in the assemblies?

7 DR. BERNERO: Inside the canister?

8 DR. CANTLON: Right.

9 DR. BERNERO: Well, I think Harald Ahagen might say from
10 Sweden I don't think they're thinking of hot isostatic
11 pressing of copper anymore or fillers. The issue of fillers,
12 I think, is going to have to be faced sooner or later in the
13 sense of criticality control. If you look at an assembly--
14 remember what I told you about moderator ingress and burnup.

15 Perhaps, the most dominant factor in burnup and moderator
16 and criticality control is high-level waste itself. You
17 know, what happens 3,000 years from now? If you have spent
18 fuel standing this way, does it finally, you know, slowly but
19 surely, crumble and maybe collect at the bottom? And, the
20 package is expected to last probably 1,000 years or more than
21 1,000 years, but can water get in, what are the--you know, is
22 there possible preferential dissolution? What happens to the
23 poisons? What is the reactivity as a function of time?
24 There's where you can get into filler. But, again, that's
25 the system analysis that will lead to your specification.

1 DR. PRICE: If there are no other questions, we're about
2 on time and we can stop now for our break. We'll see you
3 back here at 10:30.

4 (Whereupon, a brief recess was taken.)

5 DR. PRICE: All right. Ladies and gentlemen, it's now
6 our opportunity to have the Department of Energy provide to
7 us some things about the management plans and strategy for
8 the interim storage of U.S. spent fuel and we're very pleased
9 to have Lake Barrett to provide the presentation which will
10 go from here until our lunch break.

11 MR. BARRETT: Thank you very much, Mr. Chairman. My
12 name is Lake Barrett. I am the acting deputy director of the
13 program, soon to be the permanent deputy director of the
14 program when various pieces of paper get signed and we finish
15 some daisy chain things at headquarters. I think, as you all
16 know, Dan Dreyfus has been confirmed to be the director of
17 the program. He sends his regards and condolences he could
18 not be here today. He looks forward to the next meeting of
19 the Board in January in Washington to engage with you on
20 these issues. So, I will try to be a fill-in for him here
21 today.

22 I will try to cover things that you requested in
23 your letter to us. I'm going to do basically the first half
24 of this and go into whatever level of detail you'd like with
25 me to the ability that I can. Ron Milner who is the

1 associate director of storage and transportation is going to
2 do the second half of this. Then, we're going to have
3 considerably more detailed technical presentations with the
4 Board over the next day and a half.

5 So, what I would like to do is cover from sort of a
6 macro sense the status of the program right now, what our
7 goals, the status--the goals and priorities are; what our key
8 planning assumptions are; our macro storage and
9 transportation strategies; and, the interim storage progress
10 and plans and how that ties into the ultimate disposal and
11 your repository. I think Dr. Starr said it very well that we
12 need to have a program that is robust and flexible enough to
13 handle both decades, centuries, and millennia as we go
14 forward.

15 Just a little bit of status, as well as the goal--
16 this is not solely the goals here--but I think most people
17 believe that the Act of 1982, which is our base Act as
18 amended in '87, has not really gone forward as it was
19 envisioned by the authors back in the national debates in
20 1982. At that time, the goal seemed to be set that in '98 we
21 would have a functioning system and be ready to go. I think
22 history over the last decade has shown this is a much more
23 difficult problem to solve than was envisioned.

24 In my opinion, the hardest part of this has not
25 been the technical aspects of it. The technical engineering

1 and the science, as daunting and as complex as that is, is
2 easy and simple compared to the institutional and also the
3 political aspects of this program. I believe there has been
4 little satisfaction with the process from all sides. I
5 believe the utilities have not been satisfied. I don't
6 believe the rate payers have been satisfied. I don't believe
7 the environmentalists and environmental groups have been
8 satisfied. I don't think the Department, as career civil
9 servants, are particularly pleased with what's happened. I
10 don't believe the United States Congress is particularly
11 pleased with what's happened. And, I believe this Technical
12 Review Board in its reports has not been particularly
13 pleased, either.

14 One thing that does become pretty clear is people
15 may say I don't like it, but I'll tell you, there seems to be
16 a larger divergence on what are we going to do? As you go on
17 and talk to the various people. there seems to be even less
18 and less consensus on what is the solution going to be? I
19 believe there's going to be a national dialogue over the next
20 year or so as to any redirection of this program. We are
21 going to continue along with the program to the best of our
22 ability. With Dan Dreyfus as the confirmed leader for the
23 next several years, the Department of Energy intends to play
24 a major role and be leaders in that dialogue as we go through
25 that. I'm going to touch on many of the issues that I expect

1 that there will be entering into that dialogue because none
2 of these problems are easy and have simple solutions.

3 Okay. Sort of where we are at this moment as far
4 as priorities. This is sort of my 1994 budget priorities
5 that I sent to our people. If you don't have it in the
6 budget, you don't really do it. So, you may want to talk
7 policy and you may want to talk philosophies; the real proof
8 of the pudding is what are you doing in the budget? And,
9 that's really where the rubber meets the road. We are
10 basically trying to maximize our scientific investigations at
11 Yucca Mountain. That is a key area. The other key area, the
12 two main ones, also is looking at the MPC which is the main
13 topic that we're going to be talking about here today.

14 Now, as far as in the waste acceptance, what we'd
15 like to be able to do is to be getting into MRS sitings. As
16 you know, the nation, Congressional direction in '87, looked
17 at the voluntary negotiated process as the mainstay of the
18 siting program. Ex-Congressman Stallings has been nominated
19 by President Clinton. He was voted out unanimously by the
20 Energy Committee last week and I would anticipate that he
21 would probably be confirmed by the Senate next week or
22 shortly thereafter. We'll await Mr. Stallings to negotiate
23 with potential parties that are interested in obtaining more
24 information concerning MRS siting. Meanwhile, we are
25 evaluating the MPC and we'll hear much more about that. We

1 also are working to have a transportation capability in 1998
2 and we'll go into that more, also.

3 I've also directed that we limit our program
4 support activities to support the Yucca Mountain scientific
5 work and the MPC areas. We've tried to cut back a lot of
6 that. We've cut back over 10% of our headquarter support
7 contractors. We've transferred people from east to west and
8 trying to cut back on this and I'll go into more on that a
9 little bit later in the balancing of the program.

10 Secretary O'Leary has given us specific
11 instructions concerning involvement of various stakeholder
12 groups to try to build a national consensus and that's a
13 major part of what we're trying to do also. She has the
14 review processes and we'll go into that, as you may wish to
15 in the question period. But, we certainly are going to be
16 working more in that area where we will solicit external
17 views on the program. We will listen to those and we will
18 respond to those. There's been a very clear message by most
19 folks that not only are we to ask for it, but we are to act
20 on them, as well.

21 Okay. To talk about the program. The key thing is
22 the systems point of view. We have come a long way in the
23 systems area and we still have a long, long way to go. This
24 is a very difficult program to integrate together. The Board
25 has constantly advised us to improve in that area and we've

1 taken that to heart and we have made some substantial
2 improvements there. I am nowhere near satisfied at this time
3 with our performance and our performance is going to improve
4 substantially in that area as we work harder and harder
5 there. This is not easy. To set specifications, that's the
6 easy part. The hard part is to take the systems concepts, as
7 you look at the whole, and try to get down into specifics and
8 when you start to pull the thread down on some of these, be
9 they basket designs of canisters, we start to find some very
10 substantial issues that you get in there and almost every one
11 of these hundreds of technical issues, when you add them all
12 up, any one of those issues turns out to be a billion dollar
13 issue, pretty much, any way you go at it. But, we'll get
14 into that and a little bit more in a bit.

15 Contingency planning is a major part of this.
16 Making irreversible decisions are very, very important and
17 very cautionary when you do that. The only irreversible
18 decisions we're going to be doing in the next decade
19 basically is one of financial. You'll spend money at it and
20 have to take it apart. For example, if we choose a canister
21 or a cask and it turns out to be one that is not compatible
22 with the ultimate millennia type of thing, you have to take
23 it apart. And, all you've basically done is wasted money
24 because with the public health and safety and the
25 environmental protection processes that we have are going to

1 clearly cover that we'll be making the proper decisions from
2 health and safety. What you will find, though, is you may
3 have to strap some money. And, we're talking substantial
4 pieces of change in this whole program.

5 Improving the system performance through
6 standardization and minimizing fuel handling, I'll have a
7 chart a little later on. We will go through the various
8 options we're looking at. Basically, we've got nominally
9 300,000 fuel assemblies that we're going to be seeing just
10 from the commercial side into our program. That's no new
11 orders. We're talking nominally numbers like that. We'd be
12 talking like a million handlings of fissile pieces of
13 material. There's probably a better way. I think most
14 people have urged we're--finish the concept is a better way.

15 We believe it's a better way, but we haven't determined
16 exactly what the right one is yet. We have some good ideas,
17 but yet they have not had all the homework done. We have
18 reached a point on much of this. We know what we don't know,
19 but we don't know for sure and certainly not with the
20 scientific information this requires or reasonable assurance
21 and the licensing or to prove to this Board that we know the
22 answers to a lot of these things. We know a lot of concepts,
23 we know a lot of characteristics, but we don't have the
24 technical specs on a lot of these issues at this point.

25 Controlling national program costs are mandatory.

1 I believe this is going to be a bigger part of the program
2 over the next couple of years than it's been over the last 10
3 years. I think the Super Collider gave a message to many of
4 us that I think everyone would agree the Super Collider was a
5 noble project, a noble program. The nation has got to pay
6 for these things. They don't come for free. When you start
7 adding, you know, tens of billions here or there, all of a
8 sudden, someone says we're all paying for this. If you look
9 at some of these can concepts, debts of a billion dollars
10 here and there are real easy to achieve and real easy to see,
11 and a billion dollars is real money. This is money that
12 could be used for health care, AIDS research, breast cancer,
13 you name it, certainly training for our youth in the cities.
14 There are many things that society needs this money for and
15 you can reduce this. As Dr. Starr said, you go from the 10^{-7}
16 to 10^{-8} , 10^{-25} , as far as risk and, as a citizen, I believe,
17 we're not wisely spending our resources in this nation. So,
18 national program costs, I think, are going to play a more
19 major role in the future. It still must be done safely and
20 it still must protect the environment, but I think we need to
21 get a better handle on that as to what is society willing to
22 pay, what risk, what price, how safe is safe enough at what
23 price? So, I expect there will be more of that.

24 The MPC system under evaluation, the policy that I
25 have established for that is that I want that, if it is

1 viable, to be capable to be used in 1998 as a goal. If it's
2 not--you know, if it turns out we can't do it, we won't.
3 But, that is our goal and is our planning basis that I've
4 directed Ron and his program guidance to follow and you will
5 be seeing more detailed schedules and milestones. And, '98,
6 the reason we have chosen that is, I believe, it is doable
7 and also that's the date and the goal that the United States
8 Congress established for us.

9 The key to receiving into the Federal system is an
10 MRS site. The MRS siting is really an institutional/
11 political issue. It is not a technical one. The technology
12 and engineering is simple. It is not in my back yard,
13 fairness, those kinds of issues. The last thing I think you
14 want is the Department of Energy to go stick a pin in the map
15 and say there's the place and make it stick. It isn't going
16 to happen. There either needs to be more of a dialogue, a
17 discussion--I think you're going to hear some of those today
18 when you hear what some of the folks in Michigan have to say
19 about the program, Tennessee, and others on this. And,
20 unless the voluntary system can be made to work--and, I
21 think, as you all know, the recent Congressional action on
22 that will end up changing that program somewhat. Some may
23 say it's for the better, some for the worse. It will
24 probably take it a little bit longer than what was certainly
25 envisioned, I think, even back in '82 and certainly in '87.

1 But, we will continue to go along that line.

2 As the siting is not as certain as we'd like it to
3 be, there's more importance to the MPC concept. There are a
4 few things that are certain here. One of them is that fuel
5 exists today; shut the powerplants down or renaissance of
6 nuclear. Fuel exists and fuel will exist tomorrow and our
7 grandchildren will have this fuel to deal with. And, that
8 we, in this generation, need to take some responsible steps
9 to assure that there is a capability to handle this and
10 manage it in a sound, manageable way if the public has
11 confidence. You may have an engineering way to do it, but if
12 the public doesn't have confidence in it and it's not
13 politically viable through their Congressional
14 representatives, it's not a viable program. So, we need to
15 work on that.

16 In the long-term, our basic assumptions are that
17 there will be a repository sometime. It is decades away.
18 But, we believe there will be one. If it turns out that it
19 may or may not be Yucca Mountain, depends on what the science
20 says and it also depends on what the politics will say on
21 that.

22 Now, for interim storage, I talk about here is some
23 of the key elements that we've directed our folks to do. We
24 must work very closely with the utilities. TQM is a very
25 important thing in this administration and this Department.

1 Customer service, focus on the customers. The utilities and
2 their rate payers are customers. We have many customers, but
3 those are the primary customers for us and we must work very
4 closely with them on this concept of interim storage,
5 canisters, dry storage.

6 We may have the greatest technical widgets, but if
7 it doesn't fit and isn't used and useful in a utility, it's a
8 waste of money. And, we in this society cannot afford to
9 waste money anymore. So, we've established close working
10 relationships with the EEI groups, also individual utilities,
11 and we've established connections at the working engineer
12 level, the mid-manager level, and also utility CEO level, and
13 you have to function at all three levels to have successful
14 interface with the utilities and an exchange of views.

15 We will continue to support volunteer storage.
16 Again, we are not driving that. The Congress set up and
17 negotiated to do that, but we are there to assist in any way
18 that we can there.

19 Standardized packages, we believe, show great
20 promise to assist the nation and the societal costs. We
21 historically in DOE focused pretty much on the Federal system
22 which did not include at-reactor storage. That was handled
23 per the Act by the utilities. We would receive it in. We
24 are now looking more at the societal cost which includes the
25 DOE costs, but as well as what utility costs are for having

1 to store fuel. This becomes even more important today than,
2 say, it was five years ago with the advent of early closure
3 of nuclear powerplants. I think, five or 10 years ago, you
4 would not have envisioned that Rancho Seco, the Trojan Plants
5 would be closed down for economic reasons. Some of the
6 environmentalists envisioned that and they would envision
7 more of that and there may truly be more of that and that has
8 been the trend. But, clearly, the advent of those and the
9 societal costs to maintain their spent fuel pools for long
10 periods of time, plus our delays, the institutional delays,
11 as well as technical delays in the repository and the MRS
12 siting, clearly, cries out more for a need. Recommendations
13 from this Board, from the NRC, from the United States
14 Congress, and your Court language clearly this is a time for
15 the United States of America to focus more on that concept.
16 Our response to that has been to do more work on the multi-
17 purpose canister system and we'll go into that in some
18 detail.

19 And, basically, building on the technologies that
20 exist. We have, as Bob showed you, storage that is licensed
21 and is operating in the United States of America, dry
22 storage. We also have had transportation casks licensed. We
23 have two applications--there are two applications, let me
24 say, to the NRC for combining those two technologies; the
25 dual-purpose, storage and transportation, a fairly straight

1 forward engineering task. I believe the nation will be
2 successful and we'll have that. The harder part is to make
3 this compatible with disposal. That's the 10 CFR 60 issues
4 and that's what we're--I believe is the main focus of this
5 meeting today and I think it's very timely that we have this
6 interchange as we go into that area in some detail.

7 In your letter to me, you asked for key planning
8 assumptions. I'd like to go into that a bit, and then in the
9 question period and also in the panel later today, we can go
10 into these to whatever detail you would like.

11 But, as far as waste acceptance, a very key thing
12 is that we are sort of separating out from this is that we
13 are going to continue per the contracts and the waste
14 acceptance is according to the rights of the oldest fuel
15 first. We're not changing that around. This is a complex
16 issue all on its own and we'll deal with that be it through
17 free market or otherwise, but as far as an issue of multi-
18 purpose canisters, this is what our assumption is.

19 As far as our base, I believe that the no-new-
20 orders more likely projects what the future is going to be.
21 But, also, we must have a program that is flexible and is
22 fairly insensitive to what tomorrow brings. Tomorrow may
23 bring further shutdown of operating reactors, more than
24 what's beyond today, and fuel will even do down further as
25 powerplants may shut themselves down. A major issue will be

1 next year as the Minnesota Legislature debates what it wishes
2 to do about dry storage at Prairie Island. There is a
3 distinct possibility that the state may decide to not grant
4 dry storage at Prairie Island and that could lead to the
5 shutdown of those two nuclear powerplants and you could see
6 that happen other places, as well. Then, again, on the other
7 side, as Dr. Starr mentioned, maybe greenhouse effect or
8 whatever, global warming, maybe there will be a renaissance
9 of nuclear. I don't know what that's going to be. The
10 Department of Energy still has a job to do and it's got to do
11 that job under either of those cases, whatever tomorrow will
12 bring.

13 Storage. As I mentioned, interim fuel storage is a
14 reality. There are 121 reactors out there, 75 sites that
15 have fuel sitting on them. It's there. If you shut them all
16 down tomorrow morning, they're still there and we've got to
17 deal with that.

18 Dry storage is a reality. We have five different
19 sites with dry storage today. I think, Bob had that on one
20 of his slides. We have different technologies for dry
21 storage. There will probably be more in the future as we--in
22 a free market enterprise and competition and you will--there
23 is a natural evolution from metal to horizontal, concrete, to
24 other types of things as we look for more cost-effective ways
25 to do this. But, there's a proliferation of these and I

1 believe there is some advantage for some standardization. If
2 we're not careful, we'll end up with a couple of dozen
3 different technologies at 76 different sites a couple of
4 decades from now and we'll look back, our successors will
5 look back and say why did those people in the '90s let that
6 happen? Where were they thinking? Where was their vision?
7 Who was trying to get to that vision? So, we have
8 responsibility to ourselves now and to the people who will
9 follow us that we look at the big picture and we try to do
10 the right thing here.

11 MRS siting will continue. Voluntary process is
12 what we have on the books right now and I believe there's
13 probably some debate about is there other ways? Former
14 Secretary Watkins suggested there be a Federal siting push.
15 That is not what the current administration is doing, but I
16 believe there will be debates about that. All I will say on
17 that is it's going to be very hard to do a fore-siting type
18 of thing and sustain that in the United States.

19 The planning basis for the MRS, if we were to get a
20 site, let's say, this spring, it would be nominally around
21 the year 2000 would be the earliest you could get a
22 greenfield; basically, a new site through the process and
23 that's an optimistic process. If you were to consider an MRS
24 coupled with an existing nuclear facility of some sort, be it
25 commercial or be it Department of Energy where there is a lot

1 of nuclear data and there is a nuclear infrastructure, you
2 could bring something in before the year 2000. But, then
3 again, this gets into--if you want to try to follow the
4 voluntary process, that's a very touchy subject that you are
5 never going to force it. My wife is a natural childbirth
6 teacher. So, I know about babies and our children. You
7 can't force it. They're going to come when they're going to
8 come. And, the same thing kind of comes with a voluntary
9 process, as well.

10 The MPC being available in '98, I mentioned that's
11 one of our planning basis. That's one of our directives I've
12 given to Ron. We believe that an MPC in '98 can mitigate the
13 national situation. The MPCs, in themselves, will not solve
14 the waste acceptance issue per the contracts with utilities
15 and the rate payers who are paying the bill. But, it
16 certainly can mitigate the impacts.

17 Moving along to other assumptions, transportation.
18 I've cut the transportation program back substantially. I
19 still believe that transportation has the potential to be the
20 Achilles' heel. That's the thing that's going to be most
21 visible in the program when the program does start. But,
22 given the budget situation and the emphasis on the science at
23 Yucca Mountain and work on the MPC, we've cut this back to a
24 level that I am not comfortable with, at all. But, I need to
25 get through my FY-94 budget year. But, existing casks can be

1 used in '98. They are very inefficient. Bob showed pictures
2 of some of the existing casks earlier.

3 We are developing one advanced technology cask.
4 It's an advanced technology truck cask. General Atomics is
5 the contractor that we used there and basically we've handled
6 4 PWR assemblies, basically four times the capacity of the
7 existing technology casks that Bob showed the picture of, the
8 NAC casks. So, you could basically reduce your shipments by
9 a number of four with that cask. We are continuing that at a
10 lower level of funding than I would like. We are continuing
11 that. And, if the MPC gets the go ahead on that, that we
12 would develop basic--that would be a larger container and
13 we'll go into that in some detail in a little bit--that we
14 would develop the rail cask that would go along with that and
15 that could be available around the year 2000. We could maybe
16 advance that a little bit if I ended up getting the site in
17 the fairly near future and if I got the funding that we'd
18 need in '95 and out to do that.

19 Disposal, a repository will be available in 2010 or
20 later. Those of you who follow this program know dates
21 seldom advance. So, it's 2010 or later. The MPC, as you go
22 forward and look at an MPC, we cannot answer all the
23 repository questions on the waste package today. We don't
24 know the answers to those things. We don't know what the
25 thermal loading repository is going to be. And, we can go

1 forward and take some engineering risks--these are basic
2 economic risks--and, try to design that to be as compatible
3 and as part of the overall system and not foreclose many
4 options.

5 Dr. Cantlon asked about fillers. We've done some
6 conceptual work on that and we've decided we don't know
7 enough today about fillers. So, we'd better keep that option
8 open and have the capability to put fillers in. But, to talk
9 about putting fillers in. The place to put fillers in is the
10 first time you load it. That's a decision to be made over
11 the next several years when you may not know if you really
12 need it for a decade or so. So, you have to make a judgment
13 call on what you're going to do with that. And, as part of
14 our systems work, as Dr. North mentioned, we're trying to
15 enhance that work so, as we make these Federal decisions,
16 we're making them wisely with the best judgment and the best
17 information we can at the time.

18 That's the systems work that we're trying to do, so
19 that you know what your feedback groups, you know what your
20 risks are as you go forward, and we make decisions. And, we
21 don't want to make default decisions any more than we have
22 to. I just want to mention that. You know, decisions will
23 get made. You can make them consciously or you can make them
24 by default. And, a default decision is the worst kind of
25 decision; you really didn't control or influence your

1 destiny, whatsoever. So, we want to minimize default
2 decisions.

3 Program funding, a basic assumption here is that we
4 would receive some funding relief from what historically
5 happens in the Federal Government. As you all know, with the
6 Deficit Reduction Acts, we are basically limited to sort of
7 the funding that you had the previous year overall in the
8 Federal budget deficit activities. This program, if you've
9 followed it over the last five years, would say this year is
10 a low year, but next year I'll get double the money. Well,
11 the next year comes along and it's the same story again.
12 And, that we've carried a fairly large infrastructure along
13 because next year we're going to get double the money; well,
14 it's never happened, okay? We're not asking for double the
15 money in '95, but we are discussing at the highest level of
16 OMB about going to a revolving fund type arrangement where we
17 could get sufficient funds to be able to carry on this
18 program along with what we believe Congress envisioned in '82
19 and '87. We receive in approximately \$600 million a year
20 basically from the rate payers who pay the utilities who pay
21 us.

22 Out of the--I'll just talk the commercial side here
23 and skip the defense for now. We have been authorized--we've
24 been appropriated about \$260 million to \$300 million of that
25 money for the program. And, now that we have access to Yucca

1 Mountain, the state has cooperated with permits. We have a
2 construction program at Yucca Mountain. As you know,
3 construction programs are not cheap; they're expensive. You
4 must balance capital equipment with operating. You don't
5 want to buy too much equipment and then not have the money to
6 operate it. I think that was mentioned earlier about
7 operating funds. There again, you don't want to be foolish
8 and spend a lot of time operating something you didn't have
9 the capital equipment to go with it.

10 We must balance the systems engineering work and
11 which we've been short on as you look at the whole system.
12 We must do the scientific integration. You commented on that
13 in your report several times, the integration. So, we've got
14 the scientific experiments to go on in the tunnel. You've
15 got the performance assessment, the probabilistic risk work
16 that needs to be done. We have more work to do than we
17 basically have funds to carry it on in that area. So, we're
18 going to--we are requesting in the internal Clinton
19 Administration, discussion is going on on this issue, and we
20 are optimistic that that will happen. If it turns out that
21 we do not get funding, if the will of the nation--and, that's
22 a combination of the administration and the Congress who has
23 the ultimate say in funding--is that this program should run
24 at a level budget of nominal--you know, \$300 million to \$400
25 million a year, the program will have to be substantially

1 restructured and dates will change quite a bit as we go
2 through with that. As GAO in their reports have mentioned, if
3 you don't put the funding in, it's going to take a long, long
4 time to reach some of these objectives.

5 Now, the interim storage strategy, most of these I
6 touched on in the earlier high-level ones. We'll continue
7 support voluntary siting. We're going to evaluate the MPC
8 and you're going to hear much more about that in a moment.
9 And, if it's warranted, we would design, develop, and procure
10 MPCs. The MRS design activities are basically in abeyance
11 until we find out more about the potential site. So, we
12 basically strip that program down to a very bare minimum. We
13 will work with all the stakeholders and the constituents in
14 the nation who are concerned about this and see if there's a
15 better way. Wednesday, there will be a meeting of the--the
16 National Association of Utility Regulators is having a
17 meeting with utilities and others and there's going to be
18 discussion of that and I will attend that and provide
19 information to them as they wrestle with what we're going to
20 do with the--and, what their suggestions would be for the '98
21 date.

22 Transportation, I mentioned we're going to continue
23 at a very low level with new technology. And, if we go
24 forward to MPC, we'd develop the transportation system to go
25 with that. Again, we'll continue with technical resolution.

1 There's many issues involving transportation. And, we'll
2 continue to work on the institutional activities. That's the
3 emergency preparedness, inspection of vehicles, a lot of
4 those issues that you need to do work in. We'll continue
5 that at a very minimal activity level. And, we'll maintain
6 the state involvement. These are the Western States Energy
7 Board, Southern State Energy Board. Basically, maintaining
8 and working with the various groups out there. Bob Holden is
9 the National Congress of American Indians and focus where
10 we're going to have a lot of transportation issues when the
11 time comes. It will all move; it's just a matter of when.
12 We all know it's going to move. It's just when it's going to
13 move.

14 These are some of the dates that we have for our
15 benchline, our baseline. These dates will all change, but
16 you have to know where you are and have a reference point.
17 Principles of some of the systems approach this. Right now,
18 in late '92--first of all, the feasibility study was done
19 back in '92 on the multi-purpose canister concept. I think
20 this Board has been briefed on that report. We now have a
21 conceptual design report that the TRW or our M&O contractor
22 has given to Department of Energy that's presently under
23 review. That conceptual design report are those white books
24 that's sitting on the table right there. Those are under
25 review now. I've read much of those books. Some things in

1 that needs to be changed. Some of that stuff is real good.
2 So, we are going through that right now as we're evaluating
3 it. The schedule is that if it turns out to be viable to go
4 forward with--and, I believe it will be--we would basically
5 make some baseline decision changes in early '94. I have
6 made a decision concerning the procurement aspects that we
7 would use vendors to do this as opposed to doing all the in-
8 house design with the TRW family. That we will go out for a
9 procurement and use existing private industry to do that.

10 Then, constantly, we will be reviewing these and
11 checking back. This is going to be a iterative process as
12 you go through conceptual design, preliminary design, as we
13 have interface with the regulator, as we have interface with
14 all the constituent groups. Hopefully, there will be an MRS
15 potential host who may have a lot to say about this. For
16 example, the Mescalero Nation, as they looked at this, their
17 view was they did not want to have their fuel in the MRS;
18 they wanted to have it in a canister type thing as far as
19 contamination control. It makes good sense. If I was a
20 host, that's how I'd like to see it, too. But, these things
21 all are tied together and all have interfaces, you know,
22 back. So, there will be many people, many groups that need
23 to be consulted with, discussed with, as they through the
24 consensus process on that.

25 So, what we envision in these books when we look at

1 drawings and conceptual sketches, what we will finally have a
2 decade from now is probably nothing like any of these books
3 show you now. It will be different. But, some of the
4 concepts and principles and the envelopes hopefully will
5 still be about the same.

6 Again, critical time is NRC approval, basically, in
7 the issuance of certificate of compliances or licensing
8 statements. In the '97 time frame, you can start doing some
9 initial fabrication and we would have cans ready to be
10 deployed in the '98 time. And, this would be the first
11 generation of canisters because, in 1998, we still probably
12 won't know definitively all the answers about the repository.

13 So, you need to have this to be a forgiving system with the
14 concept of overpacks that Bob Bernero talked about earlier
15 where we can basically use the canister part to be compatible
16 and integrate in with the Part 60 case which would yet to be
17 proven at that time. And then, if it turns out that there
18 needs to be change, maybe the first multi-purpose canisters
19 may only be dual-purpose, may only be storage and
20 transportation. We could go through and look at that at that
21 time. This is part of what some of the engineering risks
22 would be.

23 Now, I'd like to go through and discuss a bit about
24 the five--there are, basically, five basic concepts that
25 we've looked at. I'll have to be fancy and do two viewgraphs

1 here. I'm going to try to tell you what the five basic
2 concepts are and give you sort of a thumbnail sketch of the
3 pros and cons of some of the things and what some of our
4 analyses, you know, are showing.

5 I've run this from sort of left to right. The
6 reference system is what we generally always had which was
7 not dual--it was storage alone, transportation alone,
8 disposal alone, and it builds going toward the right. What
9 I'd like to do is go through and kind of--in a very simple
10 schematic sketch to be sure we're all on the same basis to
11 start, what the different ones are.

12 This is the first column which is a single-purpose
13 cask system which is the reference system. And, this is
14 where spent fuel assemblies are put into a storage cask or
15 storage concept of some sort or utility. Then, they must
16 take--then, the utility would take the assemblies out of
17 storage casks when we were ready to go there and pick it up
18 with the DOE transportation cask. The cask at Surry that you
19 saw in the picture that Bob had, those are not certified for
20 transportation. So, the utility would have to put those
21 casks back in the pool, take the fuel assemblies out, put
22 them in the DOE-supplied transport cask, who would then move
23 it to the DOE receiving facility. The MRS would be at the
24 repository and then it would go into the DOE system. If we
25 did not have an MRS--and, it's possible we may not have an

1 MRS--it could go to the repository and, if we have the waste
2 package at that time, we could put the assembly straight into
3 the waste package. If we don't, we could put it into a DOE
4 storage cask which could be done. That was the concept of
5 the basic 1980's MRS concept which would be dry storage
6 there.

7 The next evolution--and, I'll come back and tell
8 you about the pros and cons of these systems--is the dual-
9 purpose cask system. There's two applications to NRC now for
10 this. Basically, assemblies put into a canister or cask
11 which would be both storage and transportation. This would
12 --or the utility would not have to put it back into the pool
13 again. Then, it would be shipped to the Department of Energy
14 and then the assemblies would be taken out of this storage/
15 transportation cask or it could be just left in storage.
16 Then the assembly would eventually be taken out of the cask
17 and put into a waste package for ultimate disposition.
18 That's the next step. That's the dual-purpose cask. And,
19 this is thick wall. It means shielding is supplied and goes
20 with the canister at all times.

21 The dual-purpose canister system is the variation
22 of that. It's where the assemblies are placed in the
23 canister. The canister is then placed in the storage cask
24 and this can be the horizontal as shown in the pictures Bob
25 had or could be vertical as in the Palisades design and the

1 Pacific Sierra design. Then, the canister can be brought out
2 of the shielded storage and placed in a transportation cask.

3 Then, that comes to the DOE facility. And then, the fuel
4 assembly is taken out of the canister and placed into a waste
5 package or it could be left into a DOE storage cask at that
6 point. It could be a concrete thing very similar to what
7 utilities would have. Again, in this design, the canister
8 design, the internals of the canister, be it fillers or
9 whatever will go into that, is not compatible or we can't
10 demonstrate that it's compatible with the ultimate Part 60
11 waste package. And, that's the dual-purpose cask or the
12 dual-purpose canister.

13 Now, there's a concept known as the multi-purpose
14 cask system. This used to be known as the universal cask,
15 but like Bob said, we're trying to standardize jargon so we
16 don't confuse ourselves all the time. This ideally is what
17 you'd like to be able to have. Is you put the assemblies at
18 the utility into a cask/canister system, basically a thick-
19 walled cask, and it would stay there all the time. It would
20 be shielded and that's what would be placed into the
21 repository and we would meet 10 CFR 60 requirements. That's
22 ideal. And, we'll get into the pros and cons of the various
23 systems. If we knew--this decade, we have to decide on a
24 system, but this decade we don't have all the answers on
25 disposal. So, it makes it very hard to do that, plus they're

1 expensive unless you have a pretty high degree of assurance
2 that you know what the disposal aspects of that is going to
3 be. But, this has been looked at in some detail since the
4 mid-'80s, basically.

5 Now, the multi-purpose canister system is the last
6 column. We'll go into that. This is what appears to be the
7 most promising at this time. And, what we have here is
8 assemblies go into a canister and then the canister needs to
9 be designed that it would be compatible--not that it would
10 demonstrate the requirements of 10 CFR 60--it would be
11 compatible with Part 60 requirements. Then, it would go into
12 storage at reactor and the cask would be withdrawn from the
13 storage cask and put into a transportation cask and then it
14 comes to the Federal facility. It can go into storage at the
15 Federal facility. We could have another little storage cask
16 with one of these casks over here and have storage at the
17 Federal facility and be part of the ultimate waste package
18 where you could put overpacks on it. And, you could put
19 multiple overpacks on it. You could put a corrosion
20 resistant layer, you could put a corrosion allowance, a mild
21 steel on top of that, or whatever the geologic setting will
22 require us to be. As Dr. Starr mentioned, when you're
23 dealing with a millennia, you want to have not only
24 engineering, but you also need to have this compatible with

1 the natural barriers, as well. And, that's where, as we're
2 just starting to drive down into Yucca Mountain with the
3 tunnel, we don't know that much about Yucca Mountain and you
4 also have to consider Yucca Mountain may not be the
5 repository. It may not be scientifically turn out to be the
6 repository. Let's assume it was scientifically okay to be a
7 repository, it may not be politically adequate to be a
8 repository. So, I mean, that is a real possibility that we
9 cannot ignore that.

10 Okay. Those are the definitions of what the
11 systems are. I'd like to give you sort of a brief thumbnail
12 of where we are looking at the pros and cons of the various
13 systems. I believe this is in your books and I believe
14 there's handouts in the back for others that were not at the
15 table. They might be a little more legible than this.

16 The first row is just the description which I've
17 tried to explain that in the little schematics and you start
18 getting into the pros and cons of these systems. The
19 reference system requires three different cask designs plus a
20 waste package. You've got a storage cask, you've got a
21 transportation cask, and you've got Federal receiving, and
22 then you've got the waste package. There are about 300,000
23 fuel assemblies and I'm just dealing with commercial; I'm not
24 dealing defense, I'm not dealing cats and dogs. Because you
25 bring in all those outliers, it makes a much more complex

1 issue than it already is.

2 But, basically, with 300,000 assemblies and you're
3 going to handle it four times here, you end up handling spent
4 fuel nominally a little over a million times. Now, that's
5 not anything to be particularly scared about. The nuclear
6 world has handled probably over a million pieces of fuel
7 assemblies already. So, this, as an engineer, I'm not
8 terribly concerned about that, but nonetheless, the more you
9 do it, the more chances you might have a problem. And, if
10 you can avoid it through prudent engineering and prudent
11 design, you should do so. And, I think that's a point behind
12 what the Commission was saying, Admiral Zech and Bob had
13 those discussions, and what the Board has been telling us.

14 You're also loading and unloading casks a lot.
15 I've done some of that and, yes, mistakes can be made.
16 Certainly, human factor is an important part as you design
17 these things. You want to minimize that. Nonetheless, there
18 are a lot of activities, there are a lot of human interfaces,
19 a lot of things, Murphy's Law is around. Even though we
20 build safeguards to assure public health and safety through
21 all of those things, it's something that we should try to
22 avoid if we can.

23 Now, the cost of this, if you look at the--
24 including the reactor costs, we tried to do that, and we have
25 a lot more work to be done on the costs down here. But, if

1 you want to deal in one significant figure and we're probably
2 pushing it a bit with that, this is basically a billion
3 dollars higher in total societal costs than the MPC system
4 and we'll get to that in a bit. But, all of those actions,
5 if we look at that, it's probably about a billion dollars
6 more to the societal system. That includes utility costs
7 plus our costs. If I look at this as a rate payor--and,
8 we're all rate payers here, okay, and I pay my electric bill,
9 you know, I want to pay that. Okay? That's a billion
10 dollars society could have used on something else and,
11 believe me, a billion dollars is something that even in
12 Federal terms is real money and it's important. We should
13 walk into these things knowing what it is we're doing and
14 have a proper consideration to that.

15 The dual-purpose system, what happens here, you end
16 up with a cask design for storage and for transport. You
17 still have to develop a waste package and you will end up
18 discarding either the cask or you will end up discarding the
19 canister. The rule of thumb I use is a big heavy wall cask
20 is nominally a million dollars. A canister is several
21 hundred thousand dollars by the time you finish with these
22 things. These are nuclear quality assurance. These are not,
23 you know, flimsy little things. But, you're throwing away
24 either big, heavy, 100 ton casks or you're throwing away a
25 fairly--nuclear grade baskets, you know, and the canisters.

1 And, that's a lot of money you're throwing away. You have
2 half the number of spent fuel handlings because utilities
3 don't have to bring it back into their pools at this point.
4 So, you have basically half the number of cask loadings and
5 unloadings, but you've got a lot of cost still because you
6 throw away all that material that you're going to have to
7 deal with.

8 Now, the dual-purpose canister system, you have to
9 be careful here; you get into vendors. Some vendor will say,
10 wait a minute, you penalized my system and, you know, mine is
11 really cheaper. So, you have to give us a little bit of
12 latitude as--you know, fine tune this thing. This is not a
13 competitive bid type of thing. But, as we looked at the
14 dual-purpose canister, it appeared to have nominally the same
15 number of handlings with this. You're going to handle
16 canisters more, but it costs less because normally a canister
17 would be the disposal part of that system and a canister
18 costs maybe a third or less than a cask because you don't
19 have all that material. And, the key thing, as Bob
20 mentioned, is the transportation is the controlling
21 engineering aspects of this. And, if you designed the cask,
22 if it's a dual-purpose cask, you had to basically throw away
23 a confinement barrier, a thick wall cask, that was able to
24 take the 30 foot drop, the puncture test, the fire test and
25 the half hour fire, the submersion, you had to throw that

1 away and that is not a cheap package to throw away. So,
2 this, to us, or TRW, looked a little less expensive and a
3 little more advantageous. Looking at the multi-purpose cask,
4 this again is the minimum number of handlings, minimal number
5 of cask loading and unloading. This shows a higher cost
6 here, a \$3 billion cost higher. Here, the problem we have is
7 we need to make a decision on this in the '90s. It's
8 basically a now decision in this business. But yet, in the
9 '90s, we don't really have a high degree of assurance of what
10 the repository is going to be. So, you're going to end up
11 having to over-design that multi-purpose cask to assure that
12 you can encompass and adapt for the geologic conditions
13 you're going to find in a repository. So, you have to over-
14 design it or else you've got to throw it away. So, that
15 becomes a problem there. So, this looked like a higher cost
16 option there.

17 The multi-purpose canister again is the minimum
18 handling as far as the fuel. You've got more cask unloading
19 because you have to pull the canisters in and out of casks.
20 This appeared to be the reference point and a lower cost to
21 this and it was more adaptable because we can defer some of
22 the final decisions on the disposal Part 60 aspects of it by
23 using the overpacks to accommodate the waste package 10 CFR
24 60 issues.

25 There are some complex issues and Ron Milner is

1 going to talk a bit about those and you'll get more detailed
2 presentations tomorrow concerning criticality. There are
3 some irreversible things you do when you establish the
4 canister design. Because then what you're saying is that
5 canister is going to be compatible for the repository which
6 is the millennia type of proof. And, whatever this nation is
7 going to do that involves millennia proofs, there's going to
8 be a rigorous licensing process and the nation is going to go
9 through a licensing where the public says I have good
10 assurance that the Federal Government is doing something that
11 will be right for millennia and the future. So, things like
12 basket designs, criticality--if it all will slump or not
13 slump; if you're using poisons, are poisons going to migrate
14 out of the package before the fuel migrates out of the
15 package; and those kinds of things regarding criticality--
16 these issues are going to be difficult to deal with. You're
17 going to need to do a combination of probabilistic risk work,
18 as well as some deterministic work, and you can spend a lot
19 of money, many millions of dollars, in analyzing these kinds
20 of things.

21 The jury is still out on a lot of these issues.
22 The 801 Report, that's on the National Energy Strategy Act
23 last year; the National Academy of Science is basically
24 looking at how safe is safe enough? Or, for that, what's the
25 safety standard, environmental standards? Their work is not

1 done. And, I believe what they're going to end up saying is
2 they should be our safety standards and EPA has to translate
3 that and then the NRC will translate and change the Part 60.

4 There are many unknowns as to what that's going to be. Yet,
5 we are faced here to try to make some decisions and do some
6 of this work without knowing a lot of those answers yet and
7 we won't for some time. But, this is not unlike the early
8 days of anything, be it the early days of railroad, the
9 electric light industry, or nuclear power industry. You
10 never know all the answers when you start, but you try to
11 build a robust system, a forgiving system that will follow
12 and it is not any decisions you made are not irreversible and
13 not unreasonable ones.

14 The next half of this, Ron Milner was going to do
15 and go into a little more detail on the different multi-
16 purpose canisters we have selected and are being evaluated in
17 some detail. If you have any general questions of me, you
18 can do that now. I'll also be on the panel this afternoon.
19 I'll be here all day.

20 DR. PRICE: Thank you.

21 DR. NORTH: I'd like to ask a philosophical question and
22 that is have we stopped being schedule driven yet? You
23 talked in your initial slides, Slide 3, about DOE's plans for
24 a national dialogue and we heard very eloquent statements of
25 the need for the systems analysis to develop the objectives

1 from both of our morning speakers. It would seem like the
2 right way to do this is to do the systems analysis, develop
3 the objectives, translate those into specifications, and then
4 begin implementing. And, we haven't really seen that package
5 complete yet and, as far as I'm concerned, we haven't yet had
6 the national dialogue. And, yet, we have these dates looming
7 before us of 1998 or 2000 to have these systems up and
8 functioning. So, I wonder if you could expand. Have we
9 shifted paradigm yet? Have we become non-schedule driven and
10 have a procedure for having the dialogue in getting the
11 systems analysis done to develop the right objectives before
12 we proceed?

13 MR. BARRETT: We have become non-schedule driven as one
14 defines schedule driven as by, let's say, your
15 recommendations and your special report to Congress on the
16 GAO and others that you're going to force the schedule for
17 '98 or 2003 license application to the NRC on Yucca Mountain,
18 no matter what. And, the science--the hell with the science
19 and the hell with the engineer, I'm going to meet the
20 schedule. We are not that, okay? If you say are we non-
21 schedule driven, we have no schedule, we have no milestones,
22 you know, we don't really care on that, we're just going to
23 do our little thing from day to day, we're not that either.
24 Okay? We've got schedules. I've given goals and baselines
25 to Ron to follow. As we've changed our program management,

1 I've been--some have accused me of being too hard on we're
2 going to have program managers. Where there is resource
3 allocation, there is a responsible name next to the piece of
4 work, then I expect it done by a date that we agreed to and
5 that's how I hold my people accountable for and the
6 contractors accountable for and we do appraisals based on
7 that kind of thing. I mean, we are doing that sort of thing.
8 So, are there schedules? Yes. Okay? Do we have goals?
9 Yes.

10 You asked where is the systems and where is it all
11 laid out? If this were a classic engineering program, if
12 this was putting a man on the moon, building a space station
13 or a bridge, I'd lay all that out for you in some detail.
14 The biggest issue here, as Dr. Starr mentioned earlier, is
15 the institutional one. If I were to put that system up, I'd
16 put it up there with an MRS right smack dab in the middle.
17 Okay? That's what the '87 Act authorized in MRS. Are we
18 going to have an MRS? That's an institutional question.
19 Okay? Are we going to have--is nuclear power going to be
20 viable 10 years from now? Are we going to shut all the
21 plants down as many environmentalists would say we should
22 because we haven't solved this problem? I don't know. Is
23 there going to be a renaissance of nuclear? I don't know
24 that either.

25 So, I don't spend a lot of time, especially when

1 I'm a little short on resources, okay, to theorize all the
2 various options that could be in front of us. I think it's
3 going to take some hard discussions. And, we know what the
4 issues are as we try to bring the various parties together
5 which will all culminate in Congress. Probably, a debate on
6 our budget request or some other amendment someone will
7 introduce to either stop the program or I stuck the pin in my
8 favorite place, now put it there. okay? There will be a
9 debate. And, I don't believe that debate is going to turn on
10 a systems engineering analysis. It's not going to turn on a
11 multi-purpose canister. It's going to turn on fairness,
12 public perception, you know, and public involvement have been
13 treated fairly, and these things. Those are what the debate
14 will turn on. This is not an engineering issue. This is a
15 societal issue; not quite as complex as health care and some
16 of the other ones that the nation has to deal with, but
17 that's what it's going to be. So, I haven't spent a lot of
18 time on--

19 DR. NORTH: Well, I'm pushing you in the direction of
20 what is the national dialogue going to be and what are DOE's
21 plans to have it? We're going to have a mini-version of
22 dialogue this afternoon and I hope we're all going to learn a
23 great deal about other points of view. What are the
24 Department's plans to have dialogue with the various
25 stakeholders and concerned parties as we look at the near-

1 term decision of how to allocate these resources toward the
2 development, design, and then implementation of either the
3 multi-purpose canister which is coming out the cheapest in
4 the preliminary evaluation or something else? Again, I heard
5 our morning speaker say the engineering isn't that tough if
6 we decide what it is we want to do. And, you've stated that
7 what we want to do is a societal decision of a highly
8 institutional character in our jargon.

9 MR. BARRETT: And, what we've done in that and we're
10 going to continue to do in this particular area, we've had
11 the workshops which have been, you know, widely attended by a
12 couple hundred people--many of your staff was there and some
13 members were there--which involve various points of view.
14 We've done one of those already. We've got another one
15 coming up in--I guess, it's later this month, I guess, now in
16 November. And then, we're going to involve the people as we
17 go through the process and, as we select vendors, there will
18 be a public involvement piece to that to allow basic segments
19 of society to plug in in this iterative process. And,
20 parallel with that, the Secretary has her review going on.
21 You know, I am being reviewed; I ain't the reviewer. So, I
22 note she's announced the financial management review part of
23 that and she's trying to kick off fairly soon and, as well as
24 others, and I believe there will be either on our budget or
25 our discussion, there will be a Congressional debate on this,

1 as well, as Dan Dreyfus now has been here a couple of weeks
2 and he has stated to me very clearly that he expects to be a
3 major player, you know, in that. But, again, this is not--
4 this is a 10% engineering type of thing and systems thing.

5 DR. PRICE: Lake, should society be making this decision
6 without the input of systems engineering?

7 MR. BARRETT: No, sir. No, sir. We have a much--in my
8 view, DOE has been very lacking in communicating what systems
9 work it has done. It's been lacking in communicating it to
10 the Board. Okay? It's been lacking integrating itself.
11 Okay? And, it's been wholly deficient in my view in
12 explaining to the nation what this really is. Okay? And, we
13 are doing substantial efforts internally to improve in that
14 area.

15 DR. PRICE: The top level systems engineering studies
16 need to be done not only for the information of society, but
17 also for the value that it has if there is a legal proceeding
18 beyond society's decision which perhaps there will be. And,
19 without the systems engineering studies as part of that, I
20 think the legal proceedings might go very hard.

21 MR. BARRETT: Well, you know, if you try to do
22 something, odds are you're going to get sued or somebody is
23 not going to like what you're doing. You know, we have done
24 --you know, there's probably two feet of paper on this that
25 scratches the surface of a lot of these things. We've got,

1 you know, another foot of paper on system studies and we'll
2 go into that in more detail, I guess, at your next meeting.
3 We've got to do more of it, we've got to do better of it, but
4 I'm caught in a situation here where I'm trying to do the
5 science on Yucca Mountain, I'm trying to develop the MPC, and
6 some of these other areas I haven't been able to do as much
7 as I would like to have done and as much as you would like to
8 have had us done. But, there's only so many dollars I have
9 in this budget.

10 DR. PRICE: I think our time is probably requiring us to
11 move on to Ron. Oh, John?

12 DR. MCKETTA: Lake, Chauncey and Bob and you--I'm asking
13 an entirely different question--have indicated very clearly
14 that we know very well how to play a game, but nobody wants
15 us to play it on their field. And, I'm asking you this
16 because I'm politically very naive, but I've dealt with
17 people for 75 years. One of your statements here was that
18 you're vigorously pursuing a volunteer storage site. I
19 believe the volunteer process is not working and will not
20 work the way that it is. And, I just wonder what would
21 happen if Government would sweeten the pot? If the
22 Government would come out with an announcement saying that
23 there will be one billion or two billion, or whatever number
24 you want to add, a year to any state that provides a site for
25 us, along with a deed for the fuel. And, I say spent fuel

1 because many of us believe that within 100 years or so, we're
2 going to need this spent fuel as a source of a tremendous
3 amount of fuel. And, if a state had a deed, I'm just
4 wondering if we might not get 40 proposals from various
5 states if this sort of a proposition might be put out,
6 instead of saying someone must volunteer?

7 MR. BARRETT: I don't know what would happen with that.
8 There would be great debates, I'm sure. I think most people
9 in this business realize the price is high. The price is
10 unspoken, but the price is probably high. You end up from a
11 --this gets into a pure political issue and it has to do with
12 selling your great-grandchildren for bribes is how that gets
13 translated in raw political terms and which--

14 DR. MCKETTA: Compared to doing it for nothing now?

15 MR. BARRETT: Well, I don't know about doing for
16 nothing. We haven't picked a spot for a storage site. We
17 have the scientific work on Yucca Mountain and we'll hear
18 more about that later, but that is not the place we're going
19 to put this for sure. All right? It has to go through a
20 process and there's a veto thing that was established by
21 Congress. I don't know what's going to happen. I think this
22 goes back to the, you know, Morris Udall and the Congress and
23 the debates in '82. You know, theoretically, this was a fair
24 and right way to do this. Then, some other folks came and
25 let's short-circuit, let's save some money, let's do this,

1 and you had different views of how to do that. Given that--
2 if we had a benevolent king who led our country and we didn't
3 have a Congress and Executive Branch, we'd probably do that.

4 My sense is that the raw politics of it, the first elected
5 official who stood up and said the billion dollars sounds
6 good to me, you know, whatever--

7 DR. MCKETTA: Per year?

8 MR. BARRETT: You end up having some raw--and, I'm not a
9 politician, I'm an engineer. I don't know what's going to
10 happen with that, but it is a possibility. Some people think
11 that could work; others would say that's doomed because it's
12 got the bribe piece to it and what are your children worth in
13 money? That becomes a hard one to deal with.

14 DR. PRICE: I think we need to go on now.

15 MR. BARRETT: Okay. Ron, do you want to pick it up from
16 here?

17 MR. MILNER: I want to cover this morning our
18 development planning process as far as the multi-purpose
19 canister system. Before I get really into it, let me just
20 mention the approach we took to developing the canisters or
21 at least at the stage that we're at. Recognizing that the
22 canister certainly cuts across the whole spectrum of the
23 waste management system from reactor to the repository, we
24 put together what we called, for lack of better terms, an
25 implementation team within the Department. So, not only is

1 the Office of Storage and Transportation heavily involved in
2 this, but also our systems engineering group, the Office of
3 Systems and Compliance, as well as the repository people. In
4 addition to that, we've certainly worked very closely and
5 continue to work very closely with the utilities since
6 ultimately these are going to have to fit their system, as
7 well.

8 Just to talk a little terminology in what we're
9 talking about in canisters, we're looking at a canister that
10 would be loaded at the reactor site, sealed, and hopefully--
11 and, I say hopefully--never again opened all the way through
12 disposal. It would consist of a number of overpacks, storage
13 overpack; ultimately, not an overpack, but a transportation
14 cask. As far as disposal, as I think Lake and several others
15 mentioned, the canister would be put in a disposal container,
16 I think is the terminology he came up with. This could be
17 one layer, multi-layers, whatever; some other overpacks
18 potentially around that. All of that comprises what would be
19 called the waste package.

20 The canister that we're working on is intended to
21 meet the transportation requirements of Part 71, the storage
22 requirements of Part 72, and be compatible with the
23 requirements of Part 60. And, as has already been discussed,
24 we don't know where the repository is, we don't know all of
25 the disposal requirements. So, at this point in time, we can

1 only look to be compatible with those requirements,
2 criticality or whatever the case may be. Obviously, it must
3 incorporate the utility requirements. We've also undertaken,
4 I think, a pretty iterative stakeholder involvement process
5 in developing the canisters to make sure we have all points
6 of view at least considered in the development. Lake
7 mentioned we've had one stakeholder workshop. We've had any
8 number of meetings with utility industry. We have our second
9 workshop the 17th and 18th of this month, I believe it is.

10 There's a number of different requirements that we
11 have to look at as we develop the canister; certainly, waste
12 acceptance, there are utility requirements, transportation,
13 storage, disposal requirements. Looking at the waste
14 acceptance, for a variety of reasons, mostly efficiency, we
15 want to maximize the number of assemblies that we can carry
16 in a canister. A constraint to that certainly is that the
17 various plants have different physical, nuclear, thermal
18 characteristics of the fuel. I won't go through all of the
19 dimensions that we thought we looked at in terms of both of
20 the fuel that we would handle, but I think some of the more
21 important ones are looking at fuel that was 40,000 mega watt
22 day burnup and 3.75 enrichment. Also, we looked at fuel that
23 would be 10 years old. This is simply the average, if you
24 will, that we looked at in terms of designing the canisters.

25 Some of the utility requirements that we have to

1 deal with, we want to certainly maximize the number of
2 utilities that can handle the canisters that we develop and
3 what I mean by that is that there are various physical
4 constraints within the reactor plant itself. There are
5 certainly some reactor sites that are not rail-capable and so
6 forth. We have to look at all of those things. We have to
7 look at certainly the crane capacities within the different
8 reactors.

9 What we ended up with as far as the conceptual
10 design is looking at two different sized canisters, a 125 ton
11 and a 75 ton, and what I'm meaning by that is that not that
12 the canister is 125 ton, but rather the canister loaded with
13 spent fuel in the transport cask in the spent fuel pool
14 flooded with the shield plug in place; in other words, the
15 hook weight for the crane is 125 ton for one size, 75 ton for
16 the other.

17 The 125 ton, as is, could service 56 different
18 reactor sites. If you used a lighter weight transfer cask,
19 you could use the same canister as would fit in the 125 ton
20 cask, use a small lighter weight transfer cask, and transfer
21 that to the transport cask outside of the spent fuel pool so
22 you could pick up an additional 32 sites with that mechanism.

23 The 75 ton would handle an additional 14 facilities
24 leaving about 19 facilities that you could not currently
25 handle with either of those two casks. They would either

1 have to use a truck cask where bare spent fuel would be
2 loaded in the truck cask or you might do a dry cask-to-cask
3 transfer in the reactor yard itself and load a larger
4 canister. Some of the other things that we looked at is
5 welded closure, 9 foot diameter, utility transfer system in
6 case you needed to do dry transfer.

7 I won't go through all the transportation
8 requirements in detail, but obviously it has to meet all the
9 requirements of 10 CFR 71. Dose rates, in terms of rail
10 casks, we want to operate on the free interchange,
11 unrestricted interchange. So, that is limited to size.
12 We've got criticality control, surface temperature
13 considerations, cladding temperatures.

14 What we ended up with in terms of the design basis
15 of these casks, 125 ton was the maximum cask that we said we
16 would handle. We would look at burnup credit for criticality
17 control during transport. As Bob mentioned earlier, we have
18 to look at the moderator inside the canister and taking no
19 credit for containment of the--canister shell itself for
20 transport.

21 On the storage side, at least initially, we were
22 looking at a service life of something around 100 years. We
23 wanted the canisters to be transportable after long-term
24 storage. Of course, that has to meet the requirements of
25 Part 72, as criticality considerations, cladding temperatures

1 aren't really applicable and--or, I'm sorry, I had that up
2 from transportation, as well--cladding temperatures. Design
3 basis was, as far as storage, we would take containment
4 credit for the canister. We did not want to have an internal
5 inspection after storage.

6 Disposal requirements certainly are the hardest
7 ones to deal with in the canister. We wanted to be
8 compatible with the repository thermal loading approach. A
9 lot of people have said that selection of, for example, the
10 large canister may preclude some options in terms of
11 repository thermal loading. That's not necessarily the case.

12 You have to deal with the waste package exterior
13 temperature, the near-field temperature, the overall areal
14 loading of the repository which I think the repository SCP is
15 looking at something like 57 kilowatts per acre, although
16 near-field effects, you can have greater than 100C
17 temperatures. You've got to maintain criticality control.
18 It's got to be sub-critical by a 5% margin after you take
19 into account the uncertainties for different methods of
20 calculation. At this point, that would lead you to a k_{eff} of
21 about .89 in the repository. You've got cladding
22 temperature.

23 The design basis, as I mentioned earlier, the
24 canister is not media-specific, if you will. The overpack
25 and disposal container would be the media-specific factor.

1 Credit would be taken for all elements of the fuel cladding
2 and shell and so forth, as appropriate. We would hope that
3 as the repository design evolves, we could take credit for
4 the MPC shell, but to be conservative initially, we haven't
5 taken credit for that. And, we are working with NRC, as Bob
6 had mentioned earlier, looking at burnup credit for
7 criticality control.

8 Just briefly on some of the alternatives and trades
9 that we looked at as we were going through the conceptual
10 design process, as far as the MPC closure, we looked at both
11 the bolted and welded closure. We chose a welded closure
12 since it minimizes the storage monitoring and also alleviates
13 a concern as far as the corrosion. On the shell itself, we
14 looked at a variety of materials, carbon steel, Alloy 825,
15 some different stainless steels. We selected--and, I'm using
16 the term "selected" because this is kind of the baseline that
17 we came out with in the conceptual design as we go further in
18 the process. These are not locked in concrete. Lake had
19 mentioned that we're coming out with an RFP, ultimately, for
20 the detailed design of the canisters. What we will go out
21 with is a performance spec, not specifying any material or
22 even a specific size of the canister in terms of assemblies.

23 But, at least, at this stage, we selected stainless steel
24 over the others for a variety of reasons; cost, there wasn't
25 a whole lot of cost difference between stainless, 316L is

1 what we showed. And, carbon steel, a great deal of
2 difference between stainless and Alloy 825, but we did one
3 transportability after long-term storage which carbon steel
4 would likely not give. We looked at different sizes, 24 PWR
5 versus 21 PWR. 21 was selected because at this point in time
6 it appears to be a thermal loading in the repository
7 constraint, although this certainly is under review and could
8 very easily change.

9 Filler material, we did, in fact, look at filler
10 material. We could not determine at this point whether or
11 not there was a firm requirement to use filler material. So,
12 in terms of the design of the canister, what we looked at was
13 to not necessarily design in a mechanism to add filler
14 material, but to have the design such that filler material
15 could be added, if need be. You wouldn't want to do it when
16 you first loaded the canister. So, like, we would want to
17 add that filler material, if necessary, right before you
18 emplaced it.

19 We looked at burnup credit. Certainly, there's an
20 advantage for the PWRs. We can get four assemblies in the
21 larger canister if you go with burnup credit. In terms of
22 the basket neutron absorber, we looked at both borated
23 aluminum and borated stainless steel; chose the borated
24 aluminum for heat transfer and looking at a lifetime of at
25 least equal to the canister life.

1 Unfortunately, nothing is simple and there's still
2 a number of unresolved issues; criticality control, thermal
3 loading at the repository, and burnup credit. We're working
4 with the NRC. We're putting a report working group together
5 to deal with that issue.

6 We'll be briefing the NRC on the criticality
7 evaluation needs at the end of this month and looking at
8 presenting a topical report to the NRC in early '95 on
9 criticality control. Thermal loading is certainly an issue
10 at the repository that won't finally be answered until a
11 little later time frame. However, there's a variety of
12 studies going on which hopefully will give us some pretty
13 good indication as to whether the right thing to do is a hot
14 repository versus a cold repository and we can factor that
15 into our designs as we go forward with the canisters.

16 Burnup credit, we've begun. We held a management
17 meeting with the NRC at the end of August. We've got our
18 first technical exchange with NRC planned for the end of this
19 month. In total, we've got three topical reports planned to
20 submit to the NRC for burnup credit. For storage and
21 transportation, we're looking at about a year from now
22 submitting that topical report for disposal. This would be
23 the actual submittal of this topical report the following
24 year. And, if we need burnup credit, for one reason or
25 another for storage and transport for BWR fuel, we would

1 prepare that one. We would nominally look to a one year
2 turnaround from the NRC on those topical reports.

3 I won't spend a lot of time on the cartoons on the
4 canisters. I guess, the thing to look at there is that for
5 the 125 ton, we're looking at a one inch thickness on the
6 shell. On the 75 ton, it's .875 and this particular one
7 that--there didn't appear to be a whole lot of advantage on
8 the 75 ton to--or really strongly pursuing burnup credit.
9 So, this particular design has flux tracks in it.

10 Contingencies, certainly there's a lot of
11 uncertainty on the repository side. So, what happens if the
12 canister is not emplaceable, whether it's incompatible with
13 the repository requirements, criticality control, thermal
14 loading, or whatever. Probably, a worst case scenario is
15 that you load, let's say, 10,000 metric tons which just
16 happens to be an MRS capacity, worth of canisters and
17 ultimately you find that those 10,000 metric tons worth of
18 canisters are not emplaceable, the worst cost situation is
19 that you've basically wasted a half a billion dollars in
20 canister; not an irreversible decision, but you've spent 500
21 million in canisters that you're no longer going to use.
22 Kind of a high number, but when you look at the fact that
23 even the dual-purpose has some savings, basically you're
24 talking about a program savings of 500 million, given a one
25 billion savings if you could put that in the repository. The

1 same thing is if it turns out that the canister is not
2 transportable over long-term storage, you have another cost
3 penalty. If you don't have an MRS, actually the canisters
4 help, I think, by mitigating the system's impact. So, at
5 least, you can begin standardizing the system. If you have
6 no MRS, you've at least begun that process.

7 As Lake indicated, we're making a decision at least
8 in the relative near-term to proceed with canisters or not to
9 proceed. That would come about in the January time frame.
10 That decision would be to proceed to the next step, not
11 necessarily ultimately. But, some of the things we're going
12 to look at, obviously, are health and safety. We're going to
13 look at life cycle costs. Canisters certainly have to be
14 economically viable to use them. Licensing, regulatory
15 compliance, stakeholder acceptance are the various other
16 factors which all go into it.

17 What goes into our decision process, certainly, the
18 conceptual design report. We've also undertaken or beginning
19 to undertake an independent review of that conceptual design,
20 much the same as we did for our two casks' designs about a
21 year or two ago. Industry certainly has input. We've gotten
22 quite a bit out of our first stakeholder workshop. We hope
23 to get additional out of the second one. Environmental
24 input, working closely with NRC as we develop, and certainly
25 the input of this Board.

1 April of '94 is when we hope to put out the RFP for
2 the detailed design of the canisters. That RFP may contain
3 an option to procure the first small number, but basically
4 the detailed design. We would award those contracts by
5 December of '94. Look at submitting the safety analysis
6 report in December of '95. Complete EA in December of '95.
7 And, complete prototype testing, March of '87. All leaning
8 basically at starting deployment or having the MPCs available
9 for deployment starting in January of '98. If that schedule
10 is compared with the schedule we have to look at burnup
11 credit, criticality, and so forth, we think we can
12 incorporate the input that we're going to be getting from
13 those exercises into the design process. Again, the worst
14 case situation is that you come down and have a finally
15 designed canister which you learn something from the
16 repository study that says you need to change that design.
17 That's not a major issue. That's not an irreversible thing.

18 Pointing that out, there's a decision to proceed here and I
19 think Lake had mentioned earlier that there's a number of
20 points where we're going to be evaluating that decision as we
21 learn more and more from the repository site characterization
22 process.

23 And, with that, I'd like to take any questions you
24 might have.

25 DR. PRICE: All right. We're running a little bit late.

1 So, we've got time for maybe one or two questions. Then,
2 we'll need to break for lunch.

3 DR. LANGMUIR: Ron Lake suggested that there was perhaps
4 a \$3 billion difference between the multi-purpose cask and
5 canister choices and suggested also that a reason for the
6 major cost difference--which seems rather counter-obvious,
7 doesn't it; I mean, one transfer versus three--was the
8 uncertainties involved in having to make a decision now about
9 the choice in the case of the cask if you had to. Did you
10 assume the 10 year old fuel in all the calculations? Was
11 that a baseline in Lake's approach to cost in his total
12 options?

13 MR. MILNER: Yes, 10 year old fuel.

14 DR. LANGMUIR: What happens if you go to the average
15 fuel right now which is 28 years? Or, go to 30 years, which
16 is perhaps even more likely? What does that do to the
17 uncertainties in those choices?

18 MR. MILNER: Well, I think, obviously, as the fuel gets
19 older, you certainly--your economics get better. You can
20 potentially carry more.

21 DR. LANGMUIR: Does it get--better? Does it bring those
22 options closer together? Because you've now apparently
23 decided upon the canister approach. It seems like that's
24 your preference.

25 MR. MILNER: Yeah, we certainly are going towards the

1 canister approach. I haven't gotten really into those cost
2 numbers. I'm not sure I can answer that at this point.

3 DR. PRICE: Any other pressing questions?

4 (No response.)

5 DR. PRICE: Thank you very much, Ron.

6 I'm told that we have a buffet lunch available
7 which may be able to cut the time down so we can still start
8 at about 1:00 o'clock when we get back. It's in the cafe at
9 \$8.95. There are menu orders also available in the cafe.

10 So, we'll break now for lunch and reassemble at
11 1:00 o'clock.

12 (Whereupon, a luncheon recess was taken.)

13

14

15

16

17

18

19

20

21

22

23

24

25

A F T E R N O O N S E S S I O N

(1:00 p.m.)

1
2
3 DR. NORTH: I'm Warner North. I will be the Chair of
4 the session this afternoon.

5 As you have heard from the speakers this morning, I
6 think unanimously there is a need to focus on the
7 institutional aspects and not just the technical issues. The
8 Board is quite mindful of the significance of the
9 institutional issues associated with interim storage and
10 their potential effects on the implementation of technical
11 decisions. That's why we are devoting this afternoon to air
12 some of these institutional issues. We have a very full
13 afternoon and we wish that we could do even better in terms
14 of listening to all of the various points of view on the
15 institutional aspects. We have tried to fit in as much as we
16 could in the time allotted and, therefore, as Chairman, I
17 have the problem of passing that restriction down to the
18 individual speakers asking that everybody stay within their
19 time limit.

20 This session this afternoon has two parts. The
21 first part begins with a lead-off talk from a visitor from
22 Sweden, Harald Chagen, who will give us a view of the
23 European and Swedish experiences with interim storage. This
24 will be followed by a series of 10 minute speeches
25 representing a variety of perspectives. Discussion on all of

1 these speeches, as well as other issues, will be deferred to
2 the second part of this session which is a round-table
3 discussion.

4 As many here will remember, the Board devoted much
5 of its January 1993 meeting to interim storage. There was
6 some perspectives formally presented to the Board at that
7 meeting. Some of these views will be represented at the
8 round-table. Since we have quite a few speakers, we really
9 need to stay on time. After the break, we will have the
10 round-table. There are a number of participants from
11 different groups and some of them are most anxious to have
12 this opportunity to express their views. We have some
13 additional invitees that spoke before the Board at our
14 January meeting. So, in the afternoon session, I will try to
15 play traffic cop and keep things reasonably on time and
16 organized, but we have many, many people that would like to
17 express their point of view or ask questions. And so, we ask
18 again that you try to be brief and concise so that everybody
19 has the opportunity to participate and, to the extent
20 possible, we will be taking comments from the audience at the
21 very end of the session.

22 So, with that, let me introduce Harald Chagen who
23 is a consultant to KASAM, the Swedish National Council for
24 Nuclear Waste. He's going to give us a perspective on the
25 Swedish and European experience on this topic. Harald has

1 been in the United States a number of times. He's very
2 knowledgeable about the U.S. program and we are giving him 15
3 minutes, given all the territory that he has to cover.

4 Mr. Chagen?

5 DR. CHAGEN: So, I'm going to try to cover ten countries
6 in a foreign language in 15 minutes in my very general
7 statements and very brief touching on many, many points here.

8 I guess, I need to introduce myself and the Swedish
9 organization a little bit, as I will focus mostly on Sweden.

10 In Sweden, the utilities have the responsibility
11 for the management of the waste and they have formed a
12 company, a joint company, to carry out that task. Government
13 supervises this operation and we have three different groups.
14 KASAM, which I work for, that advises the Minister on nuclear
15 waste issues only. And then, we have the Nuclear Power--
16 which resembles NRC; and SSI, the Swedish Radiation
17 Protection Institute. That sort of has a similar task as
18 EPA. This will be my talk; Swedish experience, some European
19 experience, in general, and third, some conclusions.

20 When we read the term here, "interim storage", I
21 mean central mainly. The Swedish history, I think, is very
22 important in this respect of interim storage. We were
23 forced, due to a change over government in '76, due to an
24 election that was to a large extent forced by the nuclear
25 waste issue, to show an absolute safe way of disposing our

1 waste. And, in a rush, the industry put together two
2 reports, KBS1 and KBS2 reports, that laid out--it was a
3 conceptual study that laid out the whole program for the back
4 end fuel cycle. This conceptual study, I think, has given
5 us--or these conceptual studies because we did a couple of
6 more afterwards--has given us a lot of stability because, I
7 think, we then went through a very cumbersome process with a
8 lot of reviewers, national and international, including
9 municipalities, interest groups, universities, and finally
10 the decision--the approval was taken by government. This
11 report or this decision was used in order to be able to fuel
12 new reactors. It was almost like part of the licensing
13 processing in our terms. I think, this gave us considerable
14 technical and political consensus and, I must say, that this
15 program from '76 and '77 is basically the same program that
16 we have today. We haven't done much changes in the overall
17 concept.

18 We have a sea-based transportation system using
19 IAEA type standard casks. That has been in operation since
20 1982. We have a central interim storage at one of our
21 reactor islands close to Oskesand on the east coast. That is
22 in operation since '85. We have an operation of low/medium
23 level waste repository and we have a concept that we have
24 agreed upon based on a repository in crystalline rock using a
25 long-lived copper canister. We are right now in the process

1 of implementing a volunteer siting process for the repository
2 and we have separated the encapsulation plant from the
3 repositories. Encapsulation will take place at the interim
4 storage.

5 I think the justification for our decisions are
6 shortly that we knew we were going to run out of space in the
7 mid-'80s. This is back in '76 and '77. There was a strong
8 feeling that the central storage was a more optimum solution
9 than several reactors' storages, both technically and
10 politically. I don't think it was felt that some of the
11 smaller utilities that only operate reactors should have to
12 take on what might be a long-term task. We did not see any
13 possibility to implement geologic disposal at the--and we did
14 not really know if we were going to reprocess by using
15 outside contracts or not. We actually did at the beginning
16 and we cancelled that about five years ago.

17 As you might know, we have a wet storage and I
18 think we would not be able to wet storage today. But, at
19 that time, we wanted to go with a proven technology, timely
20 solution, much more important than optimizing and to develop
21 new technology. So, I think, we felt that was something we
22 could do directly and get licensed directly. It has also
23 other advantages in terms of safeguard because it's
24 underground pools. Costs for such underground constructions
25 in Sweden is about the same as aboveground. So, that was not

1 a big issue. And, we could take off a lot of the difficult
2 sort of low probability scenarios.

3 I'm not going to go through all these figures, but
4 I think central interim storage for us doesn't constitute the
5 major portion of our back end cost. It's about 15% of the
6 total or .4 cent per kilowatt hour and the marginal cost is
7 about \$70,000 per ton in the system we operate today.

8 This is just sort of a summary of the operation of
9 parts of the system. The CLAB facility that will host also
10 the encapsulation plant up to the right, storage pools down
11 to the right, and the transportation system for the ship--the
12 special vehicle and the cask.

13 So, some even more general comments about other
14 European programs, I think we need to divide them up in
15 reprocessing and non-reprocessing nations. Because
16 reprocessing nations don't really discuss this because
17 interim storage becomes a very minor part of a much more
18 complex facility. So, I don't think that's an issue in these
19 countries; France, Great Britain. But, there are what's
20 called the base load customers, those that have contract with
21 these nations. They usually operate central interim storage
22 facilities or are in the process of developing interim
23 storage facilities for vitrified waste. And, siting is
24 almost exclusively co-siting with other existing nuclear
25 facilities. And, there are casks suitable, dual-purpose

1 casks, in operation.

2 Direct disposal nations exclusively plan all of
3 them to have a central interim storage. And, you can see
4 those that have early facilities like Sweden, Finland. We
5 have wet technology. They're more modern. They are either
6 in operation or are being planned or are of dry type, using
7 dry technology.

8 Generally, it's a trend in Europe, I think, to back
9 out of reprocessing, as for France or Britain, but for the
10 other contracting nations, I think, you will see in the next
11 year--I would say, within the next year, one or two nations
12 drop out and they will then have to go to interim storage for
13 spent fuel.

14 Some conclusions. All European programs have or
15 have plans for a central facility. No country with direct
16 disposal is not planning central interim storage. And,
17 siting at nuclear islands or nuclear parks have been used
18 successfully in almost all of these countries except Germany.

19 Germany is the country that had the most problem. I think,
20 a driving force in most countries have been--robust and
21 timely has been far more important than optimization and
22 latest technology. Licensability and acceptance, I think,
23 has driven most of these programs. And, the cost is
24 typically 10 to 20% of the total back end cost. And, dry
25 storage is the modern technology. But, also, I would say

1 forceful development of final disposal plan for around 2020,
2 2060; for Britain, I think, 2020; typically, for Sweden,
3 Finland. I think it has helped public trust in that interim
4 storage is not a final solution. It is in interim storage
5 and it will not be anything else than that. And, no one is
6 trying to make it anything else than that.

7 And then, as my title said, some observations that
8 are my own. I think--I mean, the overriding problem, society
9 in Sweden, we're taking 50% of our electricity [from nuclear
10 energy], you're taking around 20; I think the overriding
11 problem here is to give the reactors an opportunity to
12 continue to provide the electricity. I think even experts
13 say we can dispose of the waste, the public does not believe
14 that yet. Polls in Sweden typically show that around 50% do
15 not believe it. We just gain public confidence in our
16 disposal programs before we can move ahead. And, we cannot
17 force decisions even if we would like to unless we have
18 gained that public confidence.

19 As far as I'm concerned, interim storage has proven
20 technology and I think it's just to go out there and procure
21 these solutions from industry. There are plenty of different
22 transport casks and storage cask concepts available. I
23 think, nuclear island sitings where nuclear operations are
24 well-known has proven to be favorable to break new ground.
25 And, on the other hand, deep disposal technology is not

1 available for implementation today. I cannot think of any
2 company who can offer a turnkey repository. So, this is
3 going to take a long time. We're going to have to develop
4 detailed knowledge about our sites and we're going to have to
5 demonstrate a lot of technology and we're going to have to
6 gain this public acceptance.

7 DR. NORTH: We've run out of time. Thank you very much.

8 Our next speaker is William Magavern. I hope I
9 pronounced that right. He is a director of Critical Mass
10 which is a unit of Public Citizen, an organization that I
11 think many of us associate with the name of Ralph Nader. He
12 is going to provide us with a perspective of this national
13 environmental organization.

14 MR. MAGAVERN: Okay. I thank the Board for including a
15 diversity of viewpoints in this session. I think that it's
16 going to be very necessary to listen to diversity of
17 viewpoints because one of the biggest problems with
18 radioactive waste programs in this country has been that the
19 Government and the industry have tended to exclude citizen
20 participation and that way of doing things has not been
21 working. If we're going to reach any sort of a resolution of
22 radioactive waste issues, it's going to have to be a
23 democratic one. And, there's a long history of the Congress,
24 DOE, the NRC, and the nuclear industry of trying to force so-
25 called solutions on communities. And, those communities have

1 tended to rebel and we reach a gridlock which I think
2 everyone here is familiar with. We've seen that certainly in
3 Nevada. Mary Sinclair will describe her experience in
4 Michigan there where public participation has been excluded
5 and we really need to find a new way of doing this. I think
6 that everybody here should understand that if the process
7 continues to be anti-democratic, then it will also continue
8 to be very costly and very contentious.

9 We hear at gatherings like this a lot of talk about
10 public acceptance, but I think those of us on the citizens'
11 side feel that we have yet to find that there is a lot of
12 listening going on by the decision makers to the concerns of
13 citizens. Instead, we often find that the concerns of
14 citizens and state, local, and Tribal governments are written
15 off as being, oh, well, that's NIMBY and then that gets put
16 in a category that's essentially a derogatory term and those
17 concerns are trivialized. And, we often hear that, well,
18 there aren't really technological problems when we're dealing
19 with radioactive wastes, but the problems are political.
20 And, that sometimes results in an effort to try to find the
21 public relations campaign that, you know, this one is really
22 going to do it. This is the one that's really going to turn
23 our public relations problem around. And then, what we see
24 is that things end up even worse than they started. A good
25 example of this would be the American Nuclear Energy
26 Council's public relations campaign in Nevada over the last

1 two years where, I think, they managed what some people would
2 have thought was even impossible which was to make people in
3 Nevada more opposed to the Yucca Mountain dump than they had
4 been before this multi-million dollar campaign started.

5 Slick media tactics are not going to solve the
6 problem. In fact, the track record that this country has on
7 radioactive wastes from Hanford and Savannah River to Maxey
8 Flats and West Valley does not give people any kind of
9 confidence that these highly hazardous wastes can, in fact,
10 be isolated from the environment for a period of time that is
11 far longer than human history. That, in combination with
12 Governmental and industry actions that have really overrode
13 the concerns of citizens and state, local, and Tribal
14 governments has resulted in the kind of mistrust that has
15 caused governors to reject getting involved in the MRS
16 process.

17 I think that if you look at some of the decisions
18 made by, for example, the Governor of Wyoming, that it's
19 clear that the states have not been willing to trust
20 Department of Energy and the Congress to follow through on
21 commitments that they're making and that there is a very
22 major concern that if there is a so-called interim facility
23 sited that that will, indeed, become the final resting place
24 for the waste. And, that's a very legitimate concern.

25 We've seen very recently in Congress this concern

1 manifested in the Bingaman amendment which did call for a
2 halt in the nuclear waste negotiation process until state and
3 local governments are in agreement. And, I think, we're
4 going to continue to see this kind of involvement on the part
5 of politicians who want to make sure that the affected state,
6 local, and Tribal governments are involved in the process and
7 do not have their concerns simply pre-empted as they often
8 have been.

9 And then, there's the problem of looking at the
10 creation of the waste in the first place which is something
11 that again the Government and the industry have frequently
12 tried to ignore. And, some people are still dreaming about
13 building more nuclear powerplants in the U.S. We heard some
14 of that dreaming this morning despite the fact that we still
15 have no satisfactory solution for the wastes that are being
16 created by processes that were started 30 or 40 or 50 years
17 ago. It is no accident that the country that seems to be
18 furthest along in its waste program, Sweden, is a country
19 that has made the decision to phase out the operation of its
20 nuclear powerplants. They're going to stop creating the
21 waste. Probably, the most important lesson we've learned
22 over the last quarter century of environmental protection is
23 that what works best is pollution prevention. Stop the
24 problem at the source. Don't create it in the first place.
25 And, everyone from Barry Commoner to George Bush has

1 recognized that it's much better to prevent pollution than to
2 try to regulate it at the back end. Often, that's ignored by
3 saying, well, if we shut down all the plants tomorrow, we'd
4 still have the problem to deal with. Certainly, we do have a
5 waste problem to deal with, but we can't do that by ignoring
6 where the waste comes from.

7 I was asked to basically represent the concerns of
8 national environmental organizations and I speak only for
9 Public Citizen, but I want to talk about two policy
10 recommendations that I think are very representative of the
11 opinions of national environmental organizations that deal
12 with these issues. First, the MRS is a bad idea. It's being
13 driven by the utilities' desire to get their wastes off-site
14 and out of sight so that they can go on generating more of
15 it. It is not needed, it is highly expensive, and will
16 continue to be highly controversial. National environmental
17 groups have always opposed the MRS and have feared that it
18 would, in fact, become a de facto waste repository.

19 And, secondly, I think there is a consensus among
20 national environmental organizations that we really need to
21 take a new look at the whole radioactive waste problem, to
22 admit that what we're doing is not working, and to have an
23 independent review by a blue ribbon panel of radioactive
24 wastes, high level or so-called low level mixed waste,
25 military waste. To start with the classifications, don't

1 even make sense right now. There needs to be an independent
2 review. It can't be done by DOE because DOE is involved in
3 the problem and doesn't have the credibility to do the review
4 itself. We need one overall review and to get away from the
5 kind of piece-by-piece ad hoc decision making that has been
6 one of the problems and that has seen us getting into more
7 and more of a problem.

8 And, I will close just with a proverbial message
9 which is that people have found by common sense throughout
10 the years that if you find yourself getting deeper and deeper
11 into a hole, the first thing you do is you stop digging.

12 Thank you.

13 DR. NORTH: Thank you very much. And, thank you for
14 leaving one minute for our busy program.

15 Our next speaker is Ben Smith who is a member of
16 the staff in the Tennessee Governor's Office. Tennessee was
17 proposed by the Department of Energy to be the host of the
18 MRS facility in the mid-1980s. This was later voided by the
19 Nuclear Waste Policy Amendment Act of 1987. Tennessee was a
20 proponent of the multi-purpose container concept. That's
21 also, of course, the home of a DOE laboratory, Oak Ridge.

22 MR. SMITH: Thank you. I'm pleased to be here and I'm
23 pleased that the Nuclear Waste Technical Review Board is
24 dialing up the interest on this subject of interim storage of
25 spent fuel. As was mentioned, the State of Tennessee was

1 deeply involved in this issue really beginning April 25,
2 1985, when we were sort of surprised by the proposal, on to
3 November 1, 1989, when the MRS Commission reported out. I
4 think those dates represent sort of a rise and fall of this
5 as a central defining theme of the nation's spent fuel
6 management program because not since the MRS Commission
7 reported out has Federal centralized storage regained its
8 earlier prominence.

9 Over the past four years, I have watched the DOE
10 develop a much better focus on the repository as a central
11 defining theme of what they're trying to do. And, during
12 this period, the technical and institutional confidence of
13 handling fuel at reactors and storing it there has increased.

14 To quote the DOE Report of the Task Force on an Alternative
15 Program Strategy: "Today, few, if any, stakeholders believe
16 there's an urgent need for rapid full-scale disposal. The
17 NRC has said that waste can safely be stored for up to 100
18 years."

19 And, we heard the NRC speaker this morning give the
20 reasoning behind that decision. So, we can safely assume
21 that this fuel can be kept at reactors out beyond the year
22 2050. That's not to say that other issues, such as utility
23 system costs, local community preferences--and, I believe,
24 we'll hear some more of those in a few minutes--special
25 utility hardships, potentials for emergencies, contractual

1 obligations, those are not trivial issues. They're very
2 important and there really couldn't be a better time, with a
3 new administration in Washington and a newly confirmed
4 director of the Office of Civilian Radioactive Waste
5 Management, to have another look at those issues. 1998 is
6 the year that's drawn a lot of attention in this program.
7 It's just around the corner. And, the utilities have a right
8 to know what to expect from the Federal program.

9 The Nuclear Waste Technical Review Board could do
10 this country a great service by pointing to some important
11 programmatic decisions on interim storage. The Federal
12 Government needs to decide about the 1998 date. They need to
13 clearly define the role they're going to play in interim
14 storage from 1998 to the date that the repository will accept
15 waste.

16 Now, looking back, the MRS Commission produced some
17 very valuable review of the key issues of interim storage.
18 Tennessee didn't agree with all the conclusions and
19 recommendations. Frankly, some of those conclusions and
20 recommendations seem strangely dissonant with the content
21 of the report. But, there was a lot of real meat on the body
22 of data and reasoning which was brought together by that
23 Commission.

24 Taking the substance of the Commission report and
25 other findings and happenings since then, we really should be

1 able to now finally lay to rest the vain hopes that the
2 Federal Government is going to bail out a relatively small
3 number of utilities by providing centralized storage. Now,
4 if we could lay that hope to rest, we could move on without
5 unnecessary distraction to define a program which will
6 optimize interim storage on-site at the reactors.

7 I can assure you from several years of grappling
8 with the creature that MRS dies very hard, but it's very sick
9 and it's very tired now and it should be put out of its
10 misery. Let me list some of the sources of its misery.

11 (1) The MRS Commission found that an MRS linked to
12 repository development as the Congress intends, increased
13 total system life cycle costs by \$1.3 billion. As Lake
14 Barrett said this morning, that's real money.

15 (2) The MRS Commission found serious equity
16 problems for financing an MRS from the Nuclear Waste Fund.
17 You have all the utilities paying into the fund based on an
18 amount of electricity they generate, but obviously they will
19 not all have the same ability to enjoy the benefits of an
20 MRS. So, for that reason, the Commission recommended that
21 its 5,000 metric ton "son of MRS" be funded only by
22 contributions from the utilities that use it. And, I can
23 really imagine the consternation of the few utilities who
24 already calculated the subsidy to their programs that a
25 Nuclear Waste Fund-financed MRS would represent.

1 (3) Congress has resisted all efforts to break the
2 linkages between MRS and repository development which were
3 put in place in the 1987 amendments. Proponents to de-
4 linking MRS failed in attempts to include any language for
5 de-linking in the Energy Policy Act of 1992. So, I think you
6 can see that the persistence of favor in the Congress for
7 linkages really dashes the hopes of those who thought that a
8 volunteer sited MRS could emerge free of linkages.

9 (4) In three years of operation, the Office of the
10 Nuclear Waste Negotiator has been unsuccessful in finding a
11 willing host state for an MRS. The latest bad news for the
12 Negotiator is that language that was mentioned just a minute
13 ago; Senate language that's been approved in the Energy and
14 Water Appropriations Bill which will halt any Phase IIB
15 grants to study the feasibility of MRS siting unless the
16 Negotiator can find a reasonable likelihood that agreement
17 can be reached among all relevant Government officials in the
18 vicinity of any proposed site. I think if this language
19 stands, you can expect to see most or all of the Indian
20 Tribes MRS feasibility studies to fold.

21 (5) A May 1993 General Accounting Office report
22 criticized the high-level waste program for continuing to
23 pursue these dual objectives of having a repository ready by
24 2010 and having waste acceptance by 1998, both under Federal
25 tight budgetary constraints. So, in answer to that, DOE

1 downplayed their resource allocations to MRS, as they rightly
2 should have.

3 (6) Finally, no argument can be made that a
4 Federal storage project is going to help us unlock the
5 secrets of the origin of the universe. MRS is not going to
6 represent in advance or even a contribution in the technology
7 of waste isolation for a 10,000 year period. In fact, the
8 technology is close to humdrum, as we've heard this morning.

9 So, a project like this is going to have to stand on the
10 usual pillars of justification, costs, benefits. Financing
11 will have to be fair. And, this is just where the MRS failed
12 in past attempts to be justified.

13 Instead of listing all the other problems with MRS,
14 it would be better for me to finish up here by talking about
15 what can be done on optimizing a system of at-reactor storage
16 and defining a helpful Federal role in that endeavor.

17 Some excellent progress is being made, I think,
18 through this MPC concept. I haven't seen the complete design
19 report. I'd love to have the time to go through it. But, if
20 this concept is developed with care, I think it will provide
21 some of the system benefits which Tennessee advocated in the
22 1980s with the dual-purpose cask system.

23 Certainly, the MPC would represent for DOE that
24 first step across the fence line at the utilities. Much of
25 the original justification for an MRS was predicated on the

1 receipt of a whole slew of heterogeneous casks requiring
2 handling, rod consolidation, and repackaging.

3 During the 1980's, Tennessee was unable to convince
4 DOE that large system benefits could be gained if you would
5 just cross the utility line and try to standardize the waste
6 form. We were disappointed that the MRS Commission didn't
7 pick up on this, but it's heartening to see that this Board
8 has picked up on it.

9 So, let me urge in my last gasp here in a 10 minute
10 presentation that we not stop with the MPC concept as we
11 cross inside the fence at utilities. Let's dust off the 1992
12 Facility Interface Capability Assessment, the FICA report,
13 the work that was done by Nuclear Assurance Corporation, and
14 the 1992 Near-Site Transportation Infrastructure Final Report
15 also done by NAC. These reports point out cask handling and
16 transport improvements which are needed to increase the
17 efficiency of spent fuel transportation system. As Tennessee
18 demonstrated in the 1980s, there's significant benefits to be
19 derived from moving spent fuel across country on dedicated
20 trains in very large casks. We heard the NRC speaker talk
21 about the tremendous driving force of getting waste in bigger
22 packages and we proved that back in the 1980s. We criticized
23 the MRS concept bitterly because these potentials were being
24 ignored back in those days. So, proper use of the MPC
25 concept and a serious look at Federal participation, at-

1 reactor upgrades in handling, and transport capability would
2 represent a welcome change in emphasis in the nation's spent
3 fuel management program.

4 A final observation here, let's not forget within
5 the last 40 years, we've created a 10,000 year problem. It's
6 not going to go away and we can only decide the pace and
7 dedication with which we'll address the problem. So, let's
8 not let any interim storage options get in the way of solving
9 the real problem.

10 DR. NORTH: Thank you very much and again thank you for
11 being on time.

12 Our next speaker is Dr. Mary Sinclair, a citizen
13 from Midland, Michigan. She will give us a perspective of a
14 citizen from the state in which a dry storage facility is
15 being installed in connection with the Palisades Nuclear
16 Facility.

17 DR. SINCLAIR: Thank you.

18 DR. NORTH: Dr. Sinclair?

19 DR. SINCLAIR: Thank you. I really appreciate the
20 chance to speak to you on this issue today.

21 The U.S. Radioactive Waste Technical Review Board
22 is to be congratulated for including in its deliberations the
23 viewpoints of a wide range of people with varying
24 perspectives on this issue. I have a paper available. So,
25 I'm just summarizing much of the contents.

1 This nation is at a very critical stage in its
2 policy decisions on high level and low-level radioactive
3 waste disposal from commercial nuclear powerplants. There is
4 a grave danger that economic pressures together with a
5 desperate need for solutions will result in very poor
6 decisions being made at this moment in history. These
7 decisions will be irreversible in their impacts on some of
8 our most valued natural resources and will adversely affect
9 all our future generations.

10 The current placement of high-level nuclear waste
11 in untested concrete casks at the Palisades Nuclear Plant
12 site in my view is one such decision. These casks are 150
13 yards from the shore of Lake Michigan and in the heart of the
14 Great Lakes. Every cask that has been designed and
15 constructed for storage of high-level nuclear waste in this
16 country up to these casks were built has had to meet rigid
17 construction and testing requirements devised by the Nuclear
18 Regulatory Commission. Each cask had to undergo a rigorous
19 site-specific licensing procedure but with the VSC-24 casks,
20 these types of requirements that would give assurance of due
21 regard for public health and safety have not been met. I
22 will describe some of these regulatory failures.

23 The VSC-24 casks were the first to be approved
24 under the generic ruling which provides that the Secretary of
25 Energy shall establish a demonstration program in cooperation

1 with the private sector for the dry storage of spent fuel,
2 spent nuclear fuel at civilian nuclear power reactor sites,
3 with the objective of establishing one or more technologies
4 which the NRC may, by rule, approve for use at the sites of
5 civilian nuclear powerplants, without, to the maximum extent
6 practicable, the need for additional site-specific approvals
7 by the Commission. There's nothing in this or any other
8 provision of the Nuclear Waste Policy Act which states that
9 site-specific determinations must be made by the NRC as has been
10 the case for Palisades, that the public's right to an
11 adjudicatory hearing may be obliterated by a generic rule-
12 making process. And yet, this is what has happened at
13 Palisades.

14 By presenting some of the highlights of the
15 violations of NRC's own rules in the process of expediting
16 the construction and loading of these VSC-24 casks at
17 Palisades, I hope to demonstrate the harsh realities of what
18 is happening at the grassroots level that is at great odds
19 with the technical planning and intent of organizations such
20 as the one that has called this meeting. I will describe the
21 institutional problems and breakdowns that are part of the
22 process and the dangers they pose in making policies for the
23 storage of high-level nuclear waste in this nation.

24 In 1990, in adopting the route by which they would
25 approve dry storage technologies generically, the NRC was

1 careful to spell out many important safeguards for the
2 process. However, in what was to be the first implementation
3 of this rule with the VSC-24 casks at Palisades, the NRC made
4 numerous exceptions and allowed significant contradictions to
5 this rule in order to approve it expeditiously and generally.

6 The NRC was driven by the fuel loading time table of
7 Consumers Power Company at its Palisades plant, rather than
8 by a conscientious application of the rules it had set out
9 for the process of generic approval of this technology which
10 were intended to protect public health and safety.

11 For example, the eight concrete casks and three
12 metal baskets that have been built for storage of high-level
13 nuclear waste at Palisades were constructed eleven months
14 before the Certificate of Compliance was even issued for that
15 cask and before the public comment period was even announced.

16 Yet, one critical requirement for generic approval of cask
17 technology is that "fabrication of a cask under the
18 Certificate of Compliance must not start prior to the receipt
19 of the Certificate of Compliance." The rule further states
20 that if a vendor has not received a certificate, then the
21 vendor does not have the necessary approved specifications
22 and may design and fabricate casks to meet incorrect
23 criteria.

24 Also, the 1990 rule for generic approval
25 specifically provides, "that to the extent practicable in the

1 design of storage casks, consideration should be given to
2 compatibility with removal of the stored spent fuel from a
3 reactor site." But in approving the use of the VSC-24 cask
4 at Palisades, however, the NRC contradicted this requirement
5 and simply asserted there is no need for the VSC cask, 24
6 cask, to be compatible with transportation requirements.

7 A good deal of concern was expressed in the public
8 comments on the lack of monitoring devices for these casks.
9 In addition, NRC's generic requirements provide that "storage
10 confinement systems must have the capability for continuing
11 monitoring in a manner such that the licensee will be able to
12 determine when corrective action needs to be taken to
13 maintain safe storage conditions." However, in approving
14 these casks, the NRC deviated from this generic requirement
15 and said, "the NRC does not consider such continuous
16 monitoring to be necessary for the VSC-24 casks."

17 In a letter dated August 31 of '92, while the
18 public comment period for the final rule was still in
19 progress, and when eight casks had already been built, the
20 manufacturers, Sierra Nuclear Corporation, indicated that it
21 would agree to make changes in the cask design in response to
22 NRC's safety concerns. However, the project manager said, to
23 get the subject documents--said that, "he preferred to get
24 the subject documents and our generic certificate of approval
25 as is and as soon as possible in order to support our efforts

1 at Palisades." The final rule on the VSC-24 casks and their
2 Certificate of Compliance were issued and became final on May
3 7th, '93, and two months later, on July 16th, the
4 manufacturer of the casks wrote to the NRC saying that he was
5 now ready to take up the amendments to the Safety Analysis
6 Report at a meeting scheduled in July.

7 Now, was this to include the safety issues that had
8 been held in abeyance as he had requested a year earlier in
9 order to complete their efforts at Palisades? Were other
10 safety issues considered? No public information is available
11 on this meeting.

12 The question is then, when does a final rule on the
13 safety of a cask become final? What will utilities be
14 ordering? Why would any utility buy anything except the
15 least expensive version that the NRC has already approved?
16 The major issues, construction of the casks prior to the
17 issuance of the Certificate of Compliance, the violation of
18 NRC's rules, as well as concerns for the environmental of
19 Lake Michigan and the Great Lakes, promoted thousands of
20 people to send petition signatures, calls and letters to
21 Attorney General Frank Kelley of Michigan. In response to
22 these citizens' requests, he asked for a public hearing on
23 this project at Palisades. Our elected officials, Michigan
24 senators and Michigan congressmen John Dingell, and senators
25 from neighboring states of Illinois and Wisconsin also

1 followed up these requests, but no public hearing was granted
2 by the NRC who is apparently accountable to no one except the
3 nuclear industry.

4 Through all of this period of time, the NRC reiterated
5 that no public hearing was indicated because the VSC-24 cask
6 system was generic and not specific to Palisades. However,
7 any number of site-specific requirements have been required
8 and the NRC has asked for them, and they're detailed in my
9 paper and they're at many others.

10 Although the National Environmental Policy Act
11 requires that an environmental impact statement be made for
12 any federal action that impacts the human environment, no
13 environmental impact statement was produced. Yet in
14 approving this cask, the NRC has made it available for use
15 with no public input to any utility in the country.

16 Other safety issues have been ignored and these
17 include the process of what will be the process of recovery,
18 and there are corrosion problems that have been mentioned and
19 that have not been resolved. Without making any full scale
20 field testing of this cask, the VSC-24, the NRC concluded in
21 their five page environmental assessment that there was no
22 significant impact on the environment from this project. The
23 only tests that were conducted were at the Idaho Engineering
24 Laboratory where a smaller cask, the VSC-17, was tested in a
25 controlled environment. But the NRC did not use these test

1 results in their rule making, but the manufacturer did use
2 these results in the design of the VSC-24 cask.

3 Furthermore, Consumers did not have the type of
4 fuel specified in the Certificate of Compliance. They had
5 fuel with less heat content that was needed for the test.
6 The NRC made exception to allow them to use this fuel, but
7 now the fact remains that this cask has been released for use
8 by any utility with no public review, without us having had
9 any real test of its heat removal capacity.

10 These casks have been set on a storage pad in a
11 fragile sand dune area which is geologically characterized as
12 a high risk erosion area. No information is available in
13 public documents on this. When the NRC was asked for these
14 data, the director said that this was not NRC's
15 responsibility because the VSC is a generic cask and can be
16 placed anywhere. The Michigan Department of Natural
17 Resources which issued a permit for the storage pad said the
18 details of storage pad construction were not their
19 responsibility since the decisions were preempted by the
20 Nuclear Regulatory Commission. The utilities spokesperson at
21 the site of Palisades said that numerous contractors were
22 involved in building the storage pad but that this
23 information was not available to the public.

24 The NRC received many public comments on this cask
25 design once the proposed rule to add it to the available cask

1 design was announced in the Federal Register. They included,
2 among many others, important observations by other cask
3 manufactures and the utility executive who noted that
4 numerous requirements for construction and testing had been
5 relaxed in the construction and deployment of the VSC-24
6 casks, and it was generally characterized as a substandard
7 cask. And one commenter said, "expedited approval of the VSC
8 is based on reasons other than full compliance with these
9 established standards which all previous applicants have been
10 required to satisfy. By virtue of its actions, NRC has
11 established a new precedence which has lowered the standards
12 for all future storage systems."

13 I would urge you to read my paper for other
14 comments. I have many documents that I've brought with me
15 that I would like to share with you in order to substantiate
16 my statements.

17 Thank you.

18 DR. NORTH: Thank you. In order to keep us on time at
19 eleven minutes, I'm going to cut speakers off. So you can
20 see my sign. Please stay within the time limit.

21 Our next speaker is Mr. Ken Miller, who is the
22 Decommissioning Spent Fuel Disposition Project Manager for
23 the Rancho Seco Nuclear Generating Station for the Sacramento
24 Municipal Utilities District. He will describe the needs of
25 a shutdown reactor for dry storage and expedience with

1 hearings on the subject in the community.

2 Mr. Miller, soon as you get hooked up to the
3 machinery.

4 MR. MILLER: Dr. North, members of the Board, we thank
5 you for inviting us to share with you the experience that
6 we've gone through at Rancho Seco in planning for an interim
7 on-site storage facility.

8 It's always nice to start out a presentation with
9 an objective, so for today's speech, I'm going to talk about
10 the discussions of the institutional issues as they relate to
11 what we had to go through for interim on-site storage. And
12 the first thing we're going to talk about is the impacts from
13 decommissioning, and then we'll talk a little bit about spent
14 fuel storage and disposition strategy, the economics of spent
15 fuel storage, and then the environmental activities. And
16 then lastly, we'll get into some future developments.

17 But before we get too far into the presentation, I
18 thought it was important that we go over the brief background
19 of why we are shut down today. Essentially the plant was
20 shut down by a referendum of ratepayers in 1989. SMUD
21 undertook an effort at that time to sell the plant and those
22 efforts were unsuccessful, and in the latter part of 1989 we
23 notified the Commission that we were going to decommission
24 the plant, spent the next year or so preparing a
25 decommissioning plan. We submitted that to the Commission in

1 1991, and we were granted our possession only license in
2 1992. That allows us to store spent fuel but we can't run
3 the reactor without the permission of the NRC. The fuel has
4 been removed from the reactor and is currently stored wet in
5 the spent fuel pool.

6 Now, as we got into decommissioning activities, we
7 recognized there were several major issues that we had to
8 address. The first was what were the available funds for
9 decommissioning and at the time we shut down, we only had
10 about \$60 million in our trust fund. When we got our first
11 site-specific cost estimate, we got a bit of a surprise. We
12 found out that the cost to decommission the facility and
13 terminate the nuclear license was somewhere in the
14 neighborhood of \$281 million. So we had a problem there.

15 The second issue that we had to deal with was low
16 level-radioactive waste, where to dispose of that. Under
17 law, we can't go to Hanford. Barnwell's a long ways from
18 California, and the Southwest Compact is not open yet, so we
19 have a problem there.

20 And the last issue on the subject of this
21 presentation is what do we do with our spent fuel and how we
22 dispose of that.

23 Going on to some of the specific issues that we
24 addressed that were directly related to spent fuel, we had to
25 deal with what was the cost of the extended pool storage of

1 our fuel. We also had to talk about what was the size of the
2 capital investment were we to go dry? And then the issue of
3 we were going to decommission the plant and what would we do
4 with the fuel assuming that it wasn't taken away after the
5 plant was decommissioned; and then the last issue which is a
6 paramount issue, which is how do we recover from an off-
7 normal condition after the spent fuel pool has been
8 decommissioned? And we've addressed a lot of these issues in
9 the dry cask system that we've purchased.

10 Our strategy involved the study of a number of
11 options that would lead us to some conclusion as to what to
12 do with our spent fuel. One of the issues that we addressed
13 was going ahead and modifying the spent fuel pool to the
14 point that it would be a stand-alone facility and we could
15 operate it without all the systems that are operable today.
16 We found that to be rather costly and also included a large
17 staff.

18 The next issue we looked at was an all dual purpose
19 fleet of dry storage casks. We found that to be something
20 that would be appealing but yet costly. We also talked about
21 shipment to a federal repository, but that was a short
22 discussion. We talked about reprocessing off-shore. When we
23 got an estimate of what that cost was, we found that not to
24 be cost effective. Also, we recognized that we got the waste
25 back and we weren't sure whether the State Department would

1 allow us to ship it off-shore. And then we talked to a
2 couple of neighboring utilities to see if we could store our
3 fuel in their pool, and the response on that was not very
4 overwhelming to say the least.

5 So, what we did was essentially we went out for
6 bid. We looked at the dry casking community and what the
7 products were they had to offer. We did select dry cask
8 storage. We put together, working with the vendor, what we
9 call a transportable storage system, and we're in the process
10 of having that license today.

11 After making all those decisions, we came up with
12 an overall schedule for Rancho Seco, and it goes something
13 like this. That we're going to put the plant in what we call
14 custodial storage. We're doing that today. We expect to
15 have that in storage by 1-1-94 and we'll start our spent fuel
16 campaign shortly. We'll be storing fuel in casks and we
17 expect to have that activity completed by about 1998. Thus
18 far, we're ahead of schedule. We may bring that in a year
19 earlier. So we will then put the plant into what we call a
20 Hardened-SAFSTOR, where we lock up the doors, put up
21 barriers, keep it in that storage mode for about ten years.
22 We'll decon the plant between 2008 and 20011, and sometime
23 between 2001 and 2015, according to the acceptance priority
24 rate or rankings, we would expect some of our fuel to be
25 moved off-site.

1 Now, from an economics point of view, here's where
2 the numbers are. The capital investment for our dry cask
3 storage system came to about \$16 million, about \$13 million
4 for the casking, which included two transportation casks.
5 About a million dollars or so for the ISFSI, this is our
6 storage facility. And another \$2 million for engineering and
7 other costs.

8 The estimated savings from approximately ten years
9 in the Hardened-SAFSTOR dry storage mode amounts to about \$8
10 million a year, and that's based on the cost of 10.6 for wet,
11 2.6 for dry storage, and taking out the capital investment we
12 believe that we're going to save about \$64 million over the
13 Hardened-SAFSTOR period.

14 From an environmental point of view, we have
15 complied with the California Environmental Quality Act. We
16 did an initial study. We found that there were no
17 significant impacts and, consequently, we did a negative
18 declaration.

19 By the same token, the National Environmental
20 Policy Act required that we make an evaluation. We did so.
21 Again no significant impacts. We are aware that the NRC is
22 having a challenge to their environmental report. Again this
23 is more on the decommissioning side, but it does include
24 spent fuel storage.

25 We did conduct three public meetings. We had two

1 public hearings. The public participation in the Sacramento
2 area was very minimal and we did not have any significant
3 issues that came up.

4 The last issue I'd like to bring up is perhaps an
5 indicator of where we are in the community, and that's future
6 developments. We have 2,400 acres at Rancho Seco. About 87
7 is the nuclear facility. And so, currently we're underway
8 with the development of a golf course and country club, an
9 equestrian center, nature center, hiking trails and a group
10 use area. We've had our first public meeting on that and
11 essentially there were no negative impacts, no significant
12 issues came up.

13 Regarding future generating facilities, we're
14 currently in the process of trying to site 2,000 more acres
15 adjacent to Rancho Seco for the purpose of a solar thermal
16 plant and we're looking into some gas options as a result of
17 a pipeline now being installed nearby.

18 So, in conclusion, we can say thus far in our stage
19 that the interim on-site dry spent fuel storage, even though
20 it's costly, is the most effective method for Rancho Seco,
21 and thus far does not appear to be a major local concern, nor
22 a major factor in future site development.

23 Thank you.

24 DR. NORTH: Thank you very much, Mr. Miller. And thank
25 you for staying within your time limit.

1 Our next speaker is Mr. Robert Mussler, from the
2 Office of the Nuclear Waste Negotiator. He'll provide us
3 with an update on the status of activities in the
4 Negotiator's Office.

5 MR. MUSSLER: My name is Bob Mussler. I'm the acting
6 deputy negotiator for the Negotiator's Office.

7 I'm not sure where to begin right now. I don't
8 want to stand up here and apologize for being in the
9 Negotiator's Office trying to site an MRS. I wasn't clear.
10 It appears we're getting into a debate of whether an MRS is
11 needed or not. Let me just briefly, before I get into an
12 update, state that from my perspective of three years of
13 doing this, we don't have the luxury of getting on one side
14 or the other. Our job is really to try to understand what
15 it's all about. We have to talk to both sides about this
16 issue. The bottom line is, we've got 72 MRSSs right now. So
17 if you don't want an MRS, you're out of luck. The issue is
18 how you're going to manage your fuel responsibly and whether
19 some centralized approach contributes to the responsible
20 management or not. It's not our job to try to argue for or
21 against an MRS, but there's certain realities that we just
22 see and have to at least deal with and communicate.

23 One of them very simply is, if you just leave it on
24 site, the suggestion, well, let's just leave it on site and
25 then Lake's point that dry storage is a reality, there's a

1 large chasm between that and the Palisades and the Northern
2 States Power experience. So you have to decide whether if
3 you've got 20% of the United States power being generated by
4 nuclear, and you've got 19, 25, some number of powerplants
5 running out of space by the year 2000, and you've got
6 situations with the energy generated by Mary Sinclair and
7 others regarding Palisades and Northern States Power and the
8 uncertainties associated with dry storage.

9 I think the issue boils down to is perhaps some
10 centralized approach. Does that make sense or not? And
11 again, I'm not prepared to argue it. I'm just going to let
12 you know there are issues out here that we have to deal with
13 and it's not just a simple answer.

14 First thing, let me tell you where we've been.
15 Over three years we got about twenty serious inquiries into
16 hosting. Those came down to right now four tribes are
17 looking at it. There's the Mescalero Tribe in New Mexico,
18 the Goshute Tribe in Utah, the Fort McDermitt Tribe in
19 Oregon, and the Tonkawa Tribe in Oklahoma. Of those tribes,
20 two of those tribes have approached the Negotiator's Office
21 and said they want to negotiate for a site, identified sites
22 on their reservation that they were willing to have
23 considered. Those two tribes are the Mescaleros and the
24 Goshutes.

25 DOE at our request did a quick review of those

1 sites to determine if there was any obvious reasons why they
2 would not be technically acceptable and I got a report back
3 within the last couple weeks that they found those sites to
4 be technically acceptable based on very quick review. Again,
5 the report wasn't in depth but the issue was is there any
6 reason to consider the possibility that these might be
7 acceptable sites, and the answer was yes.

8 The Act gives us the responsibility for seeking to
9 find a state or tribe wanting to host a facility on their
10 terms. So now that the discussion at the Negotiator's Office
11 has failed, we throw that around and others throw that around
12 fairly easily. But in terms of having four tribes involved
13 right now and two tribes having written letters expressing
14 desire to negotiate and having identified areas on the
15 reservation.

16 We feel like maybe we've--maybe failure isn't quite
17 fair, but again, I'm not saying that there's not issues
18 associated with all four of those and there's not a lot of
19 work to be done if we're going to go forward. The bottom
20 line is failure.

21 Where we are right now. We have to respond to
22 those requests to enter into negotiations and we've not done
23 so yet. The previous negotiator was asked to leave on June
24 11th. He was a Bush appointee and we're--I think it was
25 October 7th Richard Stallings was nominated by the President

1 for negotiator and we're anticipating his confirmation very
2 shortly. He was reported out of committee as Lake said, and
3 he's going before the floor of the Senate tomorrow and we're
4 expecting--so we're very shortly expecting to have a
5 negotiator. In the meantime, since Mr. Leroy left, Hazel
6 O'Leary was assigned as the President's acting negotiator.

7 The issue of the Phase IIB--let me clarify
8 something about that. First of all, it was in the Energy and
9 Water Appropriations Act that was passed. I think it was
10 passed and signed last week. The language started out with
11 what people had suggested it saying and what passed was
12 basically the administrative action of establishing Phase IIB
13 grants was voided. You can no longer give money under Phase
14 IIB grants. The idea of a condition went away. They took
15 that language out. So it's not the--you can only give Phase
16 IIB grants if the state and locals approve. You cannot give
17 Phase IIB grants, period.

18 In his confirmation hearing, the nominee Richard
19 Stallings, suggested that was a good idea. That he felt that
20 the grants were too open-ended, first of all. Two point
21 eight million dollars was the amount of money that was to be
22 provided to a potential host. It was too open-ended and
23 there was no opportunity for funding of state and local
24 communities in that process. So his sense was that that
25 Phase IIB process was essentially flawed. The idea of

1 voiding the Phase IIB process was something which he
2 supported. And where we go from here, we'll find out if he
3 gets confirmed tomorrow perhaps we're expecting, and I think
4 getting down and discussing with DOE what our next steps are,
5 where we're going to go.

6 The Senate had the authority--Congress had the
7 authority to withdraw the legislative authority for financial
8 assistance and they did not do that. DOE still has the
9 authority to create financial assistance for participants in
10 our program. What they did was they said that the
11 administrative action of the Phase IIB grants specifically.
12 The Congress didn't like it. Negotiator's Office didn't like
13 it and it doesn't exist anymore.

14 Where we go from here. Mr. Stallings, if
15 confirmed, he suggested that there's going to be a certain
16 redefinition of the program. He suggested there's perhaps a
17 two-tier approach. We're going to continue working
18 diligently with the tribes that are participating in the
19 program right now, but also open up and see if there's others
20 who might be willing to be approached; states, communities
21 for considering this as well. So a two-tiered approach under
22 his administration is what is suggested.

23 There's a strong emphasis on having the program
24 make sense, so issues such as were raised here about the need
25 for an MRS are issues he's going to want to discuss, he's

1 going to want to address. Whether the program makes sense or
2 not is going to be important. It's just going and finding a
3 volunteer host doesn't make much sense if it doesn't work.

4 The last thing I'll say is--the next to the last
5 thing, any specificity of the program is something that's
6 very important. Bob Bernero suggested that you need to have
7 the--once you have the specifications it's easy to do the
8 thing. Well, I'm not sure it's easy to do the thing for us
9 but we don't have the specifications either and I think that
10 we are probably going to work at the front end of trying to
11 get more specificity into the program, identifying exactly
12 what it is we're trying to decide, exactly what we're
13 prepared to offer to negotiate.

14 The last thing I'll say is the idea of inverting
15 the approach, in the past, the idea has been that this is
16 something that you should--that a potential host should
17 determine for themselves whether it's safe or not, and then
18 if they think it's safe, if they conclude that it's okay,
19 then they ought to consider the benefits that they might be
20 able to get from it. That's almost an apologetic approach.
21 I think that inverting it, we may see more of an inversion
22 which is, this is a solid economic development opportunity
23 for a jurisdiction, and it's based on a proven technology
24 that's safe. That's a whole different message than the other
25 one. So we're looking for Mr. Stalling's tenure coming on

1 perhaps tomorrow. Next time I talk to you, maybe we'll have
2 something more concrete to suggest.

3 Thank you.

4 DR. NORTH: Thank you very much, Mr. Mussler. Again,
5 thank you for being on time.

6 Our last speaker before the break is Mr. Robert
7 Holden, Director Nuclear Waste Projects for the National
8 Congress of American Indians.

9 He will provide us with the perspective from Native
10 Americans pertaining not only to the MRS negotiation, but
11 also other tribal concerns as well.

12 Mr. Holden?

13 MR. HOLDEN: Thank you and good afternoon. I appreciate
14 the opportunity, the invitation from the Nuclear Waste
15 Technical Review Board to present some aspects of tribal
16 government and Native American perspectives.

17 The NCAI, as you may be aware, has a program out,
18 information dissemination a two-way street, through a
19 cooperative agreement with the Department of Energy,
20 Civilian--Radioactive Waste Management. In this program we
21 disseminate information from the different components of
22 OCRWM-- provide the tribes with this information, therefore
23 they can take that information, deliberate and meet with
24 their councils or governing bodies, their people, their
25 districts, and make an informed response to some of the

1 activity within our--many tribal governments operate in
2 somewhat of a dichotomy. These tribal governments were
3 formed primarily in the mid--in the early 1930s, the Indian
4 Reorganization Act, to deal with the federal government.
5 Many of these governments came from their own way of life,
6 from their own ways to govern themselves to make the
7 decisions within the different components, but in order to
8 facilitate impacts by federal actions, it was decided--by
9 this federal government to set governments up with the
10 constitutions with laws that would enable them to interact
11 with the federal government. Of course, you have to
12 understand that once these governments set up, these
13 constitutions were set up, they had to be approved by the
14 Bureau of Indian Affairs. And on top of that, many of the
15 tribal chairpersons were appointed. That's not to say that
16 it's good or bad, but in some instances it was both, but
17 that's the way it happened.

18 But there's also the aspects of Native American
19 technical experts. It's very difficult to try to find
20 something to say to you, your backgrounds, your schooling,
21 your education in your various fields came to much
22 difficulty. But it's sort of the way you chose what you
23 wanted to do in your life.

24 Some of our people don't have that opportunity or
25 did not have that choice. That choice was made for them, and

1 these are the people that we call our medicine men or
2 spiritual leaders. Our technical experts who interact with
3 their surrounding community, whether it be relatives, plants,
4 animals, water, the rocks, the air, the sky, whoever, there's
5 a day and time in the old Indian world where there was much
6 interaction between the relatives. It may be hard for you to
7 fathom but it's something you have to be aware of. Something
8 that you're taught--and that's something that we respect to
9 this day.

10 An example is the man who had a recurring dream to
11 have a Sundance all alone, to do a Sundance all along, a
12 certain tribe in South Dakota. That's not typical. It's
13 quite atypical to do that by yourself. And it's also
14 difficulty in terms of physical--the physical demands to do
15 something of this nature. However, this dream had haunted
16 him for so many years that he decided that he would take that
17 step and reenact this because it was--a dream that he was
18 experiencing then he has to enact that. He thought by doing
19 this, it would go away. So during the Sundance, which he
20 prepared for a year in advance, his relatives came together
21 and helped him prepare a place to do this. In much pain he
22 danced for four days, fasting, singing, praying. Many clouds
23 came to rise and you could say that there was a terrible
24 storm on the horizon to be quite destructive, and in the
25 ceremony in his dancing he lifted the pipe up towards those
26 clouds that were coming and they split and they went around

1 and they crossed--caused much destruction in the surrounding
2 areas on both sides when they went around this area and met
3 and went on their way.

4 That's not without difficulty that someone does
5 that and it's not with reprisals or some sort of action or
6 reaction. For every action there is a reaction. We believe
7 that also. This man, after that, was chosen to be more
8 active, more of a spiritual leader. He got deeper and deeper
9 into it. He could not walk away from it because that's what
10 he had been selected to. He ran from it all his life. Now
11 he's a healer. He has been a healer for many years. He's 80
12 years old and he still does ceremonies which modern medicine
13 can't comprehend or understand or incorporate or reenact.
14 But he's able to do that because he has this interaction with
15 those things of nature.

16 However, we are forced to deal with modern
17 technology with the technical aspects. I guess the point I'm
18 making is that these review boards, these panels, the federal
19 agencies need to enact, need to work not only with the tribal
20 governments, but somewhat the communities, the districts,
21 even if these are governments. Even if these are governments
22 of the people and they operate as such where the individuals
23 of the community nominate and vote in their representatives,
24 and these representatives are chosen to make those decisions.

25 There still needs to be some local community input in my

1 mind and the minds of the people out there. For instance,
2 we're talking about the MRS.

3 The NCAI had a meeting in Nevada last spring and
4 the local Department of Energy officials were wondering why
5 we were holding this meeting when they told us that
6 everything was going well when there was a very good tribal
7 government--Yucca Mountain project officer relationship
8 going. That was not the case we learned and that many of the
9 tribal leaders, 20 of them approximately, made statements to
10 the effect that they did not receive adequate communication,
11 that they were not apprised of the activities and so forth
12 and so on down the line. Even though Yucca Mountain had made
13 attempts and had done cultural resource protective
14 initiatives trying to bring cultural officials from the
15 tribes to talk about tribal assessment tribal impacts,
16 cultural impacts. But then again, these impacts may differ.

17 I mean, the mitigation may differ in the minds of Indian
18 people and the minds of some of the technologists, the people
19 that work in this area. For instance, in one particular
20 situation an assessment--some tests were to be done in a
21 certain area which was a fault line which stretched for 20
22 miles, my understanding, but for reasons unknown those
23 scientists did not want to move 200 yards or two miles from
24 that site to make that assessment. Even though that fault
25 line ran for 20 miles, they decided to dig in this place.

1 And even though it was known by archaeologists,
2 anthropologists and tribal people as a significant site and
3 the idea of mitigation, well, it was after we're through
4 testing, after we dug this place up, we'll put everything
5 back the way it was.

6 There are some people represented here that
7 probably represent both sides of the MRS issue in terms of
8 tribal governments. I noticed a man from Escalero who has
9 worked on this program for many years and Grace Thorpe, who
10 probably represents a tribal grass-roots viewpoint from that.

11 They might make a statement during the public participation
12 aspect of this conference. I guess where NCAI comes down on
13 this is these are tribal governments, as we said. They do
14 represent their communities, their governments. They have
15 that ability, and the language in the Appropriations Act
16 suggests that relevant governments need to be included.

17 Tribes are relevant governments. They have sovereign status.

18 They have the decision to regulate environmental quality.
19 They have the ability to regulate transportation activities
20 within their borders. Many times they've not chosen to do
21 that, but that does not lessen their ability to do that next
22 week, next year or ten years from now. Just remember that
23 they have that ability and they will probably exercise that
24 once they become more apprised of the situation and their
25 infrastructure is adapted to meet the needs of the future.

1 Affected can mean impact. Impacted can mean
2 affected. Affected, though it is a statement that are legal
3 terms in terms of the Nuclear Waste Policy Act, it is the
4 same. The result is the same. Many tribes in the Nevada
5 area and tribes and bands, the Shoshone and Paiute people do
6 not have affected status. Under the Nuclear Waste Policy
7 Act, though they have much closer cultural historical, as
8 well as geographical nexus to the Yucca Mountain repository
9 as many of the counties there do too--there are ten counties
10 that are receiving several million dollars a year as the
11 local affected unit of government--some of the tribes have
12 approached the NCAI about working with them on changing this
13 policy and having the federal agency, Department of Energy,
14 working with them on affected status. And this will probably
15 require a meeting with the Secretary of Interior in doing so.

16 I guess that probably would call for more coordination
17 across federal agencies. Someone brought up that sentence in
18 a different context earlier. But we're also looking at
19 correlation between the Environmental Protection Agency,
20 Nuclear Regulatory Commission, Bureau of Indian Affairs and
21 Indian Health Service due to these treaties which are still
22 in effect. These tribes are obligated to have trust
23 responsibility, obligations to the tribes and to see that
24 their needs--that the health, welfare of the citizens in the
25 Indian country are dealt with.

1 DR. NORTH: Mr. Holden, in fairness to other speakers
2 and to keep this on time, I'm going to have to ask you to
3 conclude.

4 MR. HOLDEN: Then I will conclude at this moment. To
5 let you know that NCAI does not supplant input; we only
6 supplement that. During territorial days, not too far from
7 here, less than 100 miles, law cases of southeastern Oklahoma
8 or sometimes settled in federal court in Paris, Texas,
9 Federal Judge Bryant who presided over the court enjoyed
10 fishing in Mountain Fork River in the Indian Nations. Judge
11 Bryant spent time there where an English speaking Indian
12 judge lived. They became well acquainted. Once the Indian
13 judge was called as a witness in federal court, he asked for
14 an interpreter. Judge Bryant knew the Indian could speak
15 English so he instructed the bailiff to take the Indian to
16 jail until he was willing to speak English. The next day the
17 Indian judge testified in English. After the court was
18 finished with him as a witness, he approached the bench and
19 asked Judge Bryant if he planned to come to Mountain Fork
20 River and fish. Judge Bryant answered affirmatively. Judge
21 Bryant was then informed by the Indian judge that when he
22 came to the Indian Nations he must speak Choctaw or go to
23 jail. Judge Bryant never did return to those waters to fish.

24 Thank you.

25

1 DR. NORTH: Thank you. I'd like to thank all of the
2 speakers. We're almost on time. We're going to take a break
3 until 2:45 and then have the round-table. I'd like to ask
4 the members of the Board who are not directly involved in
5 chairing a panel to take a seat in the first row so we can
6 fit everybody in.

7 (Whereupon, a recess was taken.)

8 DR. NORTH: We will now begin the round-table. Again,
9 I'm Warner North and I'm going to be the moderator for this
10 exercise. We are going to start out by inviting five
11 participants of the round-table who have not previously
12 spoken today to introduce themselves with up to five minutes
13 of their comments on the issues before us. We will start off
14 with Mr. Dean Tousley who is on the staff of the House
15 Subcommittee on Energy and Mineral Resources, part of the
16 Committee on Natural Resources chaired by Representative
17 Richard Lehman.

18 Mr. Tousley.

19 MR. TOUSLEY: Thank you. I have to start out with a
20 fairly obvious caveat and that is that although I work for
21 the Congress, I can't speak for the Congress. I work for one
22 of two committees on the House side that have jurisdiction
23 over the high-level waste program. There are two others in
24 the Senate side, and they don't always see eye-to-eye,
25 needless to say.

1 On the specific issue that we're speaking of today,
2 interim storage, our committee does not have an official
3 position at this point as to what should happen with respect
4 to that, so I can't say anything very definitive about that.

5 What I can say with complete conviction is that at
6 least among the committees that do this on the House side of
7 Congress, there's a great deal of appreciation and respect
8 for the work that the Board is doing, and that was conveyed
9 to the three of you who were present at our oversight hearing
10 on July 1st. And I want to convey it to the rest of you.
11 Congress has been very impressed with the work that you're
12 doing and at least on the House side, and we sincerely hope
13 that you'll continue along in that same vein.

14 Another thing I can say with some conviction, at
15 least from the perspective of our committee is that we agree
16 strongly with the positions that were expressed by the Review
17 Board in its special report last March, and by the General
18 Accounting Office, that there needs to be a comprehensive
19 independent review of the waste program fairly soon. That
20 was a major point that was discussed at the oversight hearing
21 that our joint committees on the House side held July 1st. A
22 few weeks after the hearing, the chairman of the two
23 subcommittees that held that hearing, my boss Richard Lehman
24 and Congressman Phil Sharp, sent a letter to DOE supporting
25 the idea of an independent review and we haven't yet had a

1 response to that, but we continue to feel that that is an
2 important part of this.

3 And the interim storage question has to be included
4 in that. We're hearing sounds about a review of the
5 repository program but the fact that we're having this
6 meeting here today makes it pretty clear that the repository
7 program is not the only thing that needs to be reviewed. As
8 has been fairly abundantly stated by all the speakers today,
9 we have and are going to have some decades interim storage of
10 spent nuclear fuel. The question is whether it's all going
11 to be at reactor sites or whether it's going to be mostly at
12 reactor sites with some small portion also at a centralized
13 monitored retrievable storage facility.

14 There are those in Congress who feel strongly on
15 both sides of that issue. Needless to say, the fact that the
16 linkage between opening a repository and between licensing a
17 repository and using an MRS facility that is in the current
18 Nuclear Waste Policy Act reflects that sort of ambivalence in
19 Congress about it.

20 One of the main problems with centralized MRS that
21 lead to the perceived need for that linkage and that led my
22 committee two years ago to state a position opposed to
23 centralized MRS development in its views and estimates on the
24 proposed DOE FY '93 budget, is that it tends to divert
25 attention from the ultimate problem of permanent disposal.

1 And in a very important sense a centralized MRS has a much
2 bigger political disadvantage compared to reactor storage,
3 and that is the fears we hear expressed that once waste, if
4 we have a lot of interim facilities, the incentive to have
5 the final solution will dissolve. And that is a much bigger
6 problem with the centralized facility than it is with on-site
7 storage for the simple reason that the reactor sites are
8 represented by a whole lot more people in Congress than a
9 centralized MRS is. And I think the possibility that
10 Congress would let reactor sites become de facto permanent
11 storage facilities is nonexistent. That's just not going to
12 happen. Once you move it to a centralized place, that seems
13 to be a more realistic fear. So that's sort of a political
14 angle on the decision between a centralized and reactor site
15 interim storage.

16 And with that, I'll conclude.

17 DR. NORTH: Thank you.

18 Dr. Barnard is the executive staff director, is
19 acting as time keeper to enforce the five minute limit, and
20 you were just in it.

21 Our second speaker will be Mr. Philip Niedzielski-
22 Eichner, who's name is always a challenge for this moderator
23 to pronounce. He's a consultant representing Nye County and
24 he has experience with many other local government groups,
25 including many that are home to DOE facilities. So to go

1 from the Congressional perspective to the local government
2 perspective we go to Mr. Niedzielski-Eichner.

3 MR. NIEDZIELSKI-EICHNER: Doc, you get an A+ for the
4 effort. I appreciate it. I'll leave my comments to just
5 two. One, I'm going to speak from a Nye County perspective,
6 which is jurisdiction for the Yucca Mountain site, and the
7 second perspective is more broadly construed as related to
8 local communities that have federal facilities within their
9 jurisdiction and those communities that potentially have
10 federal facilities in their jurisdiction.

11 The first comment is simply that from a Nye County
12 perspective, interim storage is a helpful concept in that if
13 it's done successfully, it will in our judgment relieve some
14 pressure on this kind of institutional push toward making
15 Yucca Mountain the repository, and this has been a constant
16 concern of the county that the scientific evaluation of the
17 site and the technical evaluation of the site will be
18 subjugated to the political pressures of just having a
19 solution to a problem, whether it be 1998 or 2010. So
20 interim storage offers an opportunity take some pressure off.

21 Now, of course, those folks who might have an MRS
22 or an interim storage site in their jurisdiction might wonder
23 whether that's going to be the permanent site, but that is
24 another issue from a Nye County perspective.

25 Switching gears then to a broader issue of how

1 hazardous waste stations are dealt with in this country, and
2 what we see is that the experience that we are gaining with
3 Yucca Mountain and the authorities that have invested, the
4 state governments, tribal governments and the local
5 governments and local communities, that the opportunity for
6 meaningful involvement in the federal process of evaluating
7 this site is very, very significant. And with my experience
8 in working with DOE sites that are broader than Yucca
9 Mountain, it's a model that at least I'm espousing to the
10 communities that I help represent.

11 Basically you have statutory standing and you have
12 the financial systems to have that statutory standing have
13 some meaning to it. We find it very important that the local
14 communities be able to know the technical issues as well as
15 the socioeconomic issues associated with the site for a
16 federal facility. And it takes technical expertise to be
17 able to do that. It takes resources to secure that
18 independent technical resource and expertise. And so whether
19 it be interim storage, whether it be permanent storage,
20 whether it be clean-up at any of the numerous sites across
21 the country, there's a significant and key role that will
22 have to be played by the state government has already been
23 evidenced as regulators, by the tribal governments, by the
24 local community and the local government. Local government
25 working in conjunction with citizens.

1 Thank you.

2 DR. NORTH: Thank you very much. For our next point of
3 view I would like to turn to the representative from NARUC,
4 the National Association of Regulatory Utility Commissioners.

5 I gather that Ms. Shishido-Topel was unable to be with us.
6 We have instead Mr. Emmitt George.

7 MR. GEORGE: For those of you who are familiar with Lynn
8 Topel, obviously I'm not Ms. Topel. I'm a commissioner from
9 the State of Iowa, utility regulator, and within NARUC I'm
10 vice-chair of the Nuclear Issues, Nuclear Waste Subcommittee.

11 I think for NARUC, if I can borrow from a cliché used in
12 real estate, there are three important factors that drive
13 this issue for us. The first is cost, the second is cost and
14 the third is cost. And I think that we are pragmatists.
15 While we have concern for public safety, equities and public
16 acceptance of the issues, we are secondarily political in
17 terms of decision-making.

18 In the recent past, while we look at nuclear energy
19 or nuclear electric generation, it is one of several options
20 available to utilities. And utility regulators are generally
21 requiring that utilities weigh the options available to them
22 and take the least cost option in terms of generation.
23 Again, we get back to cost.

24 I think that cost is a factor I hear, and one that
25 will become more of a factor as we are affected by the

1 unknown costs that are associated at the disposal of the
2 spent fuel. One of the things that is required in making an
3 analysis as a regulator, what is the least cost option, is to
4 quantify in dollars the risks that are involved. Nuclear
5 waste at this point is a risk.

6 I've heard several suggestions during the course of
7 presentations today that I think are consistent with
8 regulatory thoughts in terms of least cost or avoiding cost.

9 The MPC is one of those things that I think most regulators
10 would encourage, that the issue be pursued. However, the
11 fact that we don't know what the cost will be or whether or
12 not the MPC will be used in conjunction with a repository or
13 with an MRS is a factor that translates into a cost that
14 certainly we would urge utilities to take into account when
15 making decisions in terms of closing facilities or not.

16 I think that while regulators attempt not to micro-
17 manage and feel that what occurs with regard to the nuclear
18 industry will be the result of decisions of utility
19 executives and DOE, I believe that we're going to see in the
20 future decisions made with regard to nuclear generating
21 facilities which are actually made based on cost as compared
22 to comparable cost in the future. I think we'll see that
23 more often that we've recently seen them.

24 Thank you.

25 DR. NORTH: Thank you very much.

1 We'd now like to turn to three representatives from
2 the nuclear utility industry, starting with a visitor from
3 Canada, Dr. Mohan Rao from Ontario Hydro. He's in the Spent
4 Fuel Management Department at Ontario Hydro where they have
5 extensive facilities for spent fuel storage which the Board
6 visited, I believe it was three years ago. He'll be on the
7 technical agenda for tomorrow morning, so perhaps you can
8 keep your remarks a little shorter than the five minutes,
9 since you'll have some time tomorrow as well.

10 DR. RAO: At the outset I'd like to thank the Board and
11 the audience here for giving us an opportunity to come over
12 here, and more than that, to let us speak to this panel and
13 also tomorrow's morning session.

14 I'd like to rather than--I'd like to sort of put
15 context to it. In Canada we have two agencies, Ontario Hydro
16 and AECL, Atomic Energy of Canada. Ontario Hydro, we call
17 ourselves the storage and transportation people. Atomic
18 Energy of Canada Limited, AECL, they are repository people.
19 Now both these agencies, they are sort of agencies of the
20 government. We are responsible to the provisional government
21 and the AECL, the federal government in Ottawa as far as the
22 national field waste management program is concerned. From
23 Ontario Hydro's perspective, storage is a main activity of
24 interest.

25 In terms of institutional involvement, I don't

1 think it's something that's appearing out of the blue. We
2 have been involved in this institution and public aspects
3 right from day one, and in fact, this whole area has directed
4 in my view what we have been doing in the area of storage and
5 transportation to a good extent.

6 For example, late 1978 also we had very involved
7 public hearings program called Royal Commission on Electrical
8 Power Planning at which time there was a lot of discussion on
9 what to do with this nuclear fuel in Canada. And Ontario
10 Hydro, being 95% owner of the fuel in Canada, we did a
11 massive study which looked at on-site storage versus
12 centralized storage. A decision was made in 1978, '79, that
13 on-site storage policy is the best policy to go with and we
14 stuck to it.

15 The decision was contingent on two things. If
16 Canada decides to reprocess the fuel, then we are to look at
17 it again. If we don't reprocess, by the year 2025 comes we
18 have to look at it again because the stations are running out
19 of space.

20 So with this on-site storage policy our
21 transportation program became very simple. There isn't one.
22 We store the fuel at the stations and our transportation is
23 limited to very few research shipments for the sake of
24 disposal.

25 As far as disposal is concerned, I'd like to add a

1 few words. AECL is the main actor in this area. The program
2 was started 10-15 years ago. We are about to go into the
3 first phase of hearings, what we call the concept hearings.
4 In 1981, the government decided that we would not go into a
5 site selection program until the concept is put before the
6 public and the governments and the decision is made whether
7 disposal is a way to go in terms of disposal in the Canadian
8 shield.

9 There was a ruling in 1981 that we have to go to
10 public hearings as soon as the concept phase is finished, and
11 that's where we are at. Next year the Canadian program is
12 going to go before what we call the EARP process,
13 Environmental Assessment Review Process, which includes
14 public hearings and in preparation for that we have had what
15 we call the scoping sessions. This is our first testing of
16 the waters with the public. We had discussions in about ten
17 cities. These involved all members of the public and I'm
18 gratified to note that some of the issues that are coming up
19 with the public involvement programs are very much what we
20 have been hearing today from Dr. Starr and the different
21 people here. The same issue is coming up again and again. I
22 think that the challenge is to keep on realizing that it is
23 an intergenerational program. It's not something that will
24 go away tomorrow or next year.

25 DR. NORTH: Thank you.

1 Our next member of the round-table is Mr. Robert
2 Rasmussen from Duke Power. Duke has installed a dry storage
3 system, the NUHOM system. He is the chair of the Universal
4 Container System Task Force for EEIU waste, and we welcome
5 him again as he presented before our Board in January of this
6 year.

7 Mr. Rasmussen.

8 MR. RASMUSSEN: Thank you. I appreciate the opportunity
9 to be here again. Just wanted to say from a responsibility
10 standpoint, the two things that I pretty much look after for
11 Duke Power, number one, is interim spent fuel storage.
12 Obviously we want to be able to keep our reactors operating
13 so whenever there's a need to expand outside storage, I get
14 involved in that and therefore become familiar with the
15 technologies.

16 Secondly, in order to look after--I like to call it
17 an investment in the DOE waste program, ours is to the tune
18 of about \$50 million per year. We do tend to spend a lot of
19 time interacting with the Department of Energy in the various
20 programs that are involved with transportation, interim
21 storage and, of course, the repository efforts. So with that
22 introduction, again, I just wanted to cover a couple quick
23 points.

24 First of all, with respect to interim storage,

1 there's been a lot of discussion about the technologies that
2 are available for interim storage; how safe, how easy, how
3 simple. I just wanted to reiterate that that is something
4 that Duke Power has done and is currently doing at our
5 Onconee station. We've operated since the summer of 1990
6 without any difficulties whatsoever.

7 It's interesting to note that we do run quite a few
8 tours through the Onconee plant and I'm amazed every time a
9 group runs through that facility when they look at the dry
10 storage operations at how impressed they are with the
11 simplicity and the safety features associated with that
12 facility. So I encourage anybody that has not seen such a
13 facility to arrange a tour of the site. I understand Calvert
14 Cliffs has a real good facility to go see. We're not
15 discouraging tours of the Onconee site, we're just trying to
16 pass them around a little bit.

17 But basically the message on the interim storage,
18 it's really not a very high tech operation. It's something
19 we've been doing for quite a few years and don't anticipate
20 any problems in the near future. We encourage the future
21 development of any new technologies and also encourage the
22 work that DOE is doing to move forward with the MRS facility,
23 again another example of interim storage.

24 With regard to the MPC, Duke Power and I think the

1 entire utility industry is very encourage by the work that
2 DOE has been doing with the M&O in development of the MPC
3 system. We think this represents both a technical and
4 economical and political positive direction in the program
5 and we would look forward to further development of this
6 concept and eventual implementation provided no major snags
7 are encountered as we continue to develop and study the
8 concept. Again, we're very encouraged about the good quality
9 work that's being done and also the good accelerated schedule
10 that DOE is on in getting this work completed.

11 Finally, I did want to say a few words again about
12 the MRS. I feel like we've heard all the discussions, pro
13 and con, on whether there should or should not be an MRS
14 facility. I think the issue here from a utility standpoint
15 is that this is a facility that represents progress in the
16 waste program, and I think that's something that both the
17 industry and the Department of Energy need to see in the near
18 term in order to ensure that this 2010 repository date that
19 we're shooting for now is achieved. The repository as most
20 people recognize represents the larger or the major component
21 of the program. I think anything we can do to ensure that
22 that schedule is maintained, that we don't run into any
23 additional slippages in that schedule I think is beneficial
24 in the long run, and I think the MRS represents a step in the
25 right direction for making that happen.

1 Thank you.

2 DR. NORTH: Thank you.

3 Our last member of the round-table panel to be
4 introduced is Mr. Jonathan Kapitz from Northern States Power
5 Company, formerly a colleague of the individual who is now
6 our Secretary of Energy I believe. He is the project manager
7 on the Prairie Island plant's dry storage facility. I gather
8 this is called ISFSI, Independent Spent Fuel Storage
9 Installation.

10 And I believe you're going to tell us a bit about
11 the utility industry's perception about interim storage with
12 respect to the future of the nuclear option.

13 MR. KAPITZ: I guess I'd really like to address the
14 issue of on-site interim storage mainly, since that's really
15 the reason that we're here and were invited today.

16 In Minnesota the issue really has become will it
17 ever leave the State of Minnesota, and that really comes down
18 to an issue of federal credibility. Does the federal
19 government have credibility? And it's not just the DOE. It
20 really involves the whole federal government. The people ask
21 that and they have a hard time coming up with reasons to find
22 credibility and find trust in the federal government. They
23 ask the question, what have we received for the three to four
24 billion dollars we've spent on the program so far. About all
25 we can physically show was about 200 feet of tunnel out in

1 Nevada for a few billion dollars. In Minnesota we built
2 about 400 feet of concrete pad for interim storage for about
3 \$2.5 million. One thing that they were able to look at was
4 the negotiated process which really seemed like a good idea
5 instead of the ram-it-down-your-throat process. The federal
6 government went out and tried to negotiate a process where
7 they would find someone who'd voluntarily take a site, a
8 hazardous site. And we got to the point where we have some
9 governments that have got to the point where they're ready to
10 really stand forward and say we'd like to seriously talk
11 about this. Now the federal government has essentially
12 pulled the feet out from under them and it's hard to
13 understand how the federal government's going to have
14 credibility with any government trying to negotiate a process
15 like this anymore, much less--especially an Indian Native-
16 American population. It seems just kind of the way that it's
17 always been sometimes.

18 One of the attitudes we seem to hear sometimes is
19 that, well, the federal government's responsible for the
20 final disposal. Utilities are for the safe interim storage
21 until that time comes, and if the utility is unable to site
22 and construct a facility and keep their plant running due to
23 lack of space, that that's not really the government's
24 problem, that's our problem. That really is the whole crux
25 of building these powerplants and we are only asking the

1 federal government to live up to their legal and contractual
2 responsibilities with us just as we are expected to live up
3 to all our legal and contractual responsibilities. And if
4 they can do that, then all the issues associated with interim
5 storage will be technical and not political. But right now,
6 the real issue in Minnesota right now, a unit--two at Prairie
7 Island shut down, which may be its last refueling if we don't
8 get this sited. And if we can resolve these issues and the
9 federal government can live up to their responsibilities, the
10 issues will all be technical and they are really quite simple
11 to resolve. If they can't resolve that, the issues will
12 continue to be political and we'll continue to see plants
13 being threatened by the inaction. And I guess that's where
14 I'm at.

15 DR. NORTH: Thank you very much.

16 At this point I would like to invite our morning
17 speakers to contribute their thoughts. I know Dr. Starr has
18 to leave for a plane in about 45 minutes, perhaps sooner, and
19 so I'll invite him to start with a three-minute limit.

20 DR. STARR: I'd be happy to answer questions but let me
21 make a few comments first.

22 I think the very last comments clarify better
23 perhaps than I presented them this morning the difference
24 between a monitored retrievable storage and on-site storage.

1 I point out that technically they're very similar. But
2 politically they're not, because politically monitored
3 retrievable storage becomes the responsibility of the federal
4 government and an on-site storage is the responsibility of
5 the utilities. And if the federal government is going to
6 establish some credibility in its implementation of its
7 responsibility, the monitored retrievable storage represents
8 that symbol. And that may be as important as the relatively
9 finer issues of the economics of the storage or even of the
10 risk elements for all the scenarios of things that might
11 happen in the way of trucks running into plants and all the
12 other hypothetical scenarios of induced risk. So I think
13 that is a major point and is perhaps one of the best reasons
14 for monitored retrievable storage at this present time.

15 I want to reiterate the fact that it's pretty clear
16 from all the presentations that from a technical point of
17 view this is the one thing that can move fairly rapidly with
18 the least degree of uncertainty. As I mentioned this
19 morning, the economics involved in that over the long-term
20 are not the big issue.

21 My second major issue I think is not so much the
22 location of the monitored retrievable storage, which is a
23 subtle problem this may not be the best place to discuss, but
24 the fact that when you have a facility of this sort, you
25 really can do a proper job on answering all the technical

1 questions, the scientific questions you know about and can
2 find out about in a permanent repository. And that I think
3 is very important. And so, I would urge you give some
4 serious thought to this special value of the monitored
5 retrievable storage.

6 DR. NORTH: Let me call on Dr. Bernero and see if he has
7 some comments to share with us.

8 DR. BERNERO: I'd just like to comment a little bit
9 about the significant contrast in some of the dialogue we've
10 heard today. I was very pleased to hear the first, to me,
11 substantial system analysis that goes toward what is an MPC,
12 what might an MPC do, what are the most rational ways to
13 operate the program with respect to packaging for storage
14 transport and ultimately for disposal. But I find it very
15 interesting we heard a lot of discussion about whether or not
16 it would make sense to include an MRS in that, and yet we
17 just heard from the representative from Northern States Power
18 where a facility is possibly going to shut down because there
19 is not an MRS. It's not a matter of at reactor storage
20 technology. It's program confidence. It's the federal
21 program confidence level that's at stake here.

22 So I think the Board could well reflect on this and
23 focus its comments on the two levels of consideration; the
24 system analysis of the high-level waste program with respect
25 to hardware, optimization of the process overall, but this

1 institutional thing that can drive you quite in an opposite
2 direction.

3 DR. NORTH: Let me invite a response from Lake Barrett.

4 MR. BARRETT: Well, the big issue I think boils down to
5 primarily institutional driven, a matter of willpower, and
6 what does this generation wish to do with a very difficult
7 institutional problem. And it boils down to, and I think
8 Dean kind of mentioned it, if it's a lot of reactors and a
9 lot of places, there's a drive toward Yucca Mountain or some
10 particular place, that you'll hear on the other side from
11 Nevada or Phil mentioned earlier, it becomes an irresistible
12 force breathing on down and no one dare says that's not the
13 right solution in spite of even what the technical aspects of
14 them might be. And those are the things that you're going to
15 go and it's six of one, half-dozen of the other, depending on
16 where you happen to put it or stand on it or let someone
17 political, democrat or republican, where you happen to stand
18 on it as to what you're going to do with it. I think you
19 have to follow process, due process. Some of the things that
20 Mary Sinclair said was public citizen involvement. As Bill
21 mentioned, whatever process, you got to do that. But the
22 willpower to move on with it, whatever it is. It's not going
23 like '82. There needs to be a dialogue and decide what it's
24 going to be. And then as the executive branch will execute
25 what to do. But right now we cannot when there is such a

1 lack of consensus, opposing view, and it's very easy for
2 someone to stop something. It's not easy for someone to do
3 something. Any jackass can knock a--build one unless there
4 comes to be some consensus what are we building, a barn or a
5 trench here? Then you have to go forward with it. Give the
6 executive branch some direction and we'll do it. The
7 nation's got to decide what it wants now.

8 DR. NORTH: Thank you.

9 Now, at this point I want to open it to all of you
10 under the following ground rules. Whether you have a comment
11 or a question for one or more of the other panelists at the
12 round-table, keep it within two minutes. And one minute or
13 less would be even better. If you have a follow-up question
14 that you'd like to pose, that's all right, but hold that to
15 one. No more than one follow-up question. And then and then
16 once you've had your turn, sit back for a while a let other
17 people have their turn. Now, you can indicate that you'd
18 like to speak either by raising your hand or if your hand
19 gets tired, put your card up vertically and I will try to
20 keep track and call on people in the order in which they
21 asked to be recognized.

22 So, who would like to start? Who among the
23 panelists has a question or a comment?

24 Mr. Holden?

25 MR. HOLDEN: I met with some people from Prairie Island

1 last week and they were saying that, you know, they don't
2 have a lot of confidence in NSP's ability to safely store
3 spent fuel there. It seems that in the Dakota communities
4 they must--Northern States Power has been and that in the
5 early negotiations Northern States Power was going to provide
6 jobs, they were going to provide many things of community
7 infrastructure including as well as lowering utility rates.
8 That came about, and in the mind of the Indian people, when
9 Northern States Power decided to store their waste, the site
10 was close to Redwing community and the community didn't like
11 the idea and went to Northern States Power and Northern
12 States Power pulled it back and said we'll put it somewhere
13 else and then put it next to the reservation border there
14 thought it was resolved.

15 What's your perspective on that please?

16 MR. KAPITZ: First of all, when we built the plant and
17 the policies we made to the Indian community--some members of
18 the community do work at Prairie Island. Some members of the
19 community do work at the Prairie Island Plant. As far as
20 providing them cheap electricity, they're not served by
21 Northern States Power so we cannot by state law provide them
22 with electricity. As far as where we put the site, when we
23 first proposed the site on our property, the Department of
24 Health was concerned that it was too close to some nearest
25 residents. We did after negotiations through the

1 Environmental Quality Board agree to move it to a different
2 site. That site meets all safety criteria and satisfied the
3 Department of Health and they concluded that there would be
4 no health risk to anyone. It is not necessarily really any
5 closer to the Indian community than it was before. It is
6 farther away from the nearest resident, who happens to live
7 by it now. So we really did not move it closer to the Indian
8 community when we did that.

9 MR. HOLDEN: I just understood some people there to say
10 that there was a housing district as well as a day-care
11 center adjacent to that area where it was being considered,
12 so I--

13 MR. KAPITZ: The community center, the Indians have
14 built a community center there. We really have essentially
15 moved the site laterally along the boundary between the
16 property line between NSP and the Indian reservation, so we
17 really have not moved it any closer to the Indian community.
18 We have moved it away from the nearest residents.

19 DR. NORTH: Thank you. I'd like to invoke the rule of
20 just one follow-up question so that we can go on to other
21 people. I'll also mention that we will not get to the
22 members of the audience until I expect about 4:30. So first
23 the panel will have their chance for the discussion. Then
24 I'd like to ask all the panelists please speak clearly into
25 the microphone to help in getting a clear transcript. Also,

1 it would be good if I don't mention your name, start off with
2 your name so we have a clear record of who's speaking.

3 Next on my list is Ben Smith.

4 MR. SMITH: I'd like to address this to Lake Barrett.
5 There's been a lot of discussion about the need for system
6 studies and I think most of you know Tennessee has advocated
7 system comparisons, life cycle cost comparisons for quite a
8 number of years, and we've been active in that area, financed
9 some of our own studies. When DOE removed the funding from
10 our studies, we continued on with 100% state funds to look at
11 some of those issues.

12 My question is for Lake. Only MPC concept--I know
13 you want to do some system studies with that. Would you
14 intend to do system studies that involve cases with and
15 without an MRS and other sensitivity analyses? Take, for
16 instance the transfer studies that you're doing, the cask
17 transfer studies at reactors. It seems to me you'd need a
18 system study assuming that you would have a positive result
19 from that and then compare a positive result there with and
20 without MRS. Do you plan to do such studies? And if you do,
21 would you submit them for peer review by independent
22 analysis?

23 MR. BARRETT: Yes, we would. We have done some of that--
24 --the TVA--years ago. Our folks have looked at those studies
25 and, you know, continuing basically to advance that work.

1 And yes, those will be publicly available for folks to look
2 at and peer review.

3 MR. SMITH: Just one follow up. Are you far enough
4 along that you've done some MPC system studies with and
5 without an MRS in the system?

6 MR. BARRETT: Yes, yes. We have.

7 MR. SMITH: So we'd like to see those.

8 DR. NORTH: Okay. I think we would too.

9 Mary Sinclair.

10 DR. SINCLAIR: I'd like to address the myth of the
11 nuclear power being an answer to global warming. No nuclear
12 powerplant can operate without the presence of the whole
13 nuclear fuel cycle and from mining and milling, through
14 transportation and especially through fuel enrichment, it
15 takes a huge amount of fossil fuel, to the construction of
16 plants, and then ultimately the envisioning that we have to
17 exercise some care and energy literally forever for handling
18 the wastes. The nuclear power option requires huge amounts
19 of fossil fuel energy that contributes to global warming, and
20 I know that there's a Department of Energy study on this, but
21 I would like to ask, I know there are competent engineers
22 that say because of these huge energy that goes into the
23 operation of the cycle including the long-term waste option
24 that has to be cared for, that there really is no net energy
25 to nuclear power. And I was wondering if Dr. Chauncey Starr

1 would like to have the EPRI made an in-depth study of exactly
2 how much energy it takes to operate the nuclear fuel cycle
3 and to refer to the DOE study in the process of doing that.

4 DR. NORTH: Dr. Starr, would you care to respond?

5 DR. STARR: Yes. First let me make a comment. I don't
6 run EPRI. I'm retired. Secondly. That issue was raised
7 back in the--must be around 1975, 1976, was thoroughly
8 investigated and turns out that less than about 10% of all
9 the energy that goes into nuclear electricity is represented
10 by the supporting facilities, construction, investment in the
11 raw materials and so on. So your fact basis is not correct.

12 And if you are interested, write me at EPRI in Palo Alto and
13 I'll try to dig you up the ancient literature on this, but it
14 was thoroughly investigated. It's just not true.

15 DR. SINCLAIR: Well, I'll send you the DOE study for
16 starters and some other additional information that I have,
17 and maybe we can take it up from there.

18 DR. NORTH: Thank you. Let me see. I believe Mr.
19 Rasmussen was next.

20 MR. RASMUSSEN: Just wanted to follow-up on an earlier
21 question again on the MPC and how it relates to the MRS
22 program. It seems like this particular meeting is heavily
23 weighted toward a good look into the MPC process and the
24 program underway. So to get back to Ben's question earlier,
25 the relationship between the MPC and the MRS, I think it's

1 important for the Board and even the audience and certainly
2 the panel here to at least understand at this point whether
3 or not the MPC makes sense under both the MRS and non-MRS
4 scenarios. And I would invite either Ron or Lake or any of
5 the other DOE folks to at least be able to respond today to
6 that comparison. Again, the question is, does the MPC make
7 sense economically based on the studies to date in a system
8 where you either do or you do not have an MRS facility?

9 DR. NORTH: Ron?

10 MR. MILNER: Yeah. Bob, first of all, let me say that
11 the system studies that we've done so far should be
12 considered preliminary in nature but at least the results of
13 those preliminary studies would indicate that the MPC does
14 make sense whether or not you have an MRS in the system.

15 MR. RASMUSSEN: Appreciate that, Ron.

16 DR. NORTH: Let's see. Phil?

17 MR. NIEDZIELSKI-EICHNER: Thank you. I just wanted to
18 get on the table something that was raised peripherally but I
19 wanted to see if we can't address it directly. Are current
20 federal sites under consideration for interim storage?

21 DR. BERNERO: If you're referring to the Admiral Watkins
22 letter of December of last year, we're not doing anything
23 with that. We're--for the voluntary process.

24 DR. NORTH: Bob Bernero?

25 DR. BERNERO: Some of the discussion of with or without

1 MRS prompts me to point out a regulatory consideration that
2 we're looking at right now. I like to say that MRS with
3 capital letters is the big one that DOE might own, and MRS
4 typed in the lowercase letters is at reactor storage. And in
5 the case of freestanding MRS at a reactor, something like
6 Rancho Seco, we should look--and I would encourage the system
7 analysts to look at it too--we should look at default or
8 upset conditions if you have freestanding storage and you
9 discover something wrong, you know; a leaky canister or
10 something like that. What do you do? You don't have the
11 spent fuel pool anymore to take the thing apart and fix it or
12 put it in a new cask. It's something we're looking at in the
13 consideration of licensing freestanding lowercase MRS's.

14 DR. NORTH: I will invite responses from Ron Milner and
15 from the utility representatives present.

16 Ron?

17 MR. MILNER: You mentioned Rancho Seco, Bob. Certainly
18 what they're looking at there is the potential if there is a
19 problem with a canister, loading that in the transport cask
20 for storage. Some of the things that we've looked at as far
21 as the overall canister system is something like that. You
22 could use perhaps a dry cask-to-cask transfer if it could be
23 accomplished on site. If you had a problem with a canister,
24 you could simply remove the fuel and place it in another one.

25 DR. NORTH: Ken Miller?

1 MR. MILLER: Thank you. Speaking for Rancho Seco, we
2 did address that issue early on in our strategies I alluded
3 to in my presentation a few minutes ago, but one of the major
4 concerns that we do have exactly as Bob Bernero reiterated
5 was when the spent fuel pool goes away, we have no place to
6 go to mitigate an off normal condition. And so what we did
7 in our strategy in our purchase with our vendor was to
8 purchase two dual purpose casks whereby if we have a canister
9 problem we can extract that canister and put it into the cask
10 which will be licensed for Part 71 and 72, whereby two things
11 could occur; the cask could serve as an isolation chamber
12 under Part 72 for a period of time, or the faulty canister
13 could be transported to another utility with an active spent
14 fuel pool whereby it could be repaired. We have addressed
15 those considerations and we do have a plan and a strategy.

16 DR. NORTH: Would any of the others from the utility
17 industry care to comment on this issue?

18 Dr. Rao?

19 DR. RAO: I'm hearing a lot about the system studies.
20 I'd like to put some of ours studies into context. They may
21 call it apples and oranges, but nonetheless, I think it maybe
22 worth listening to. Ten years ago we did probably what can
23 be called a mini systems study. We looked at on-site storage
24 followed by the centralized storage both wet and dry, very
25 similar to what you call the MRS here, and followed by a

1 repository by the year 2025, and what we find--I don't want
2 to go into the details of the study but what we found was in
3 terms of cost--there isn't one heck of a lot of difference
4 between the two options, going from on-site storage to a
5 repository versus on-site storage to an MRS kind of situation
6 then to a repository. That was our finding. And in fact,
7 when you put a dry storage system as the central storage
8 facility, you may even find an economic incentive to do that.

9 Since then, we have been developing the dry storage
10 container, what we call the DSC. To me it looks somewhat
11 like your MPC here. I'll discuss more about it tomorrow.
12 Our early studies with regard to systems analysis with the
13 DSCs showed there would be a big saving in economics and,
14 nonetheless, the way we are designing the DSC is we're going
15 step by step. We're designing it for storage alone first,
16 and it should show economics just in terms of storage. Then
17 we're going to transportation, then we're going to disposal.

18 Disposal is a big unknown but DSC will qualify for the
19 disposal package. What we may have to do with that is the
20 concept to qualify it for disposal. That's where we are.

21 DR. NORTH: Dean Tousley?

22 MR. TOUSLEY: I just have a technical question that Bob
23 Bernero's point raised, and that is for all the options that
24 Lake presented this morning that require removing spent
25 bundles from a canister and putting them into another one, do

1 those transfers have to be done in water or can they be done
2 in air?

3 DR. BERNERO: Technically they can--if it's old fuel,
4 you can do it in air. You, of course, have to have
5 shielding, you know, for the workers, but technically it can
6 be done in air. And in fact, in a way, those canister
7 transfers that you see with the NUHOMS design such as I
8 showed with Aconi, you're actually transferring a whole
9 bundle of spent fuel that is only partially shielded in its
10 canister from one shield to another right out in the yard.
11 And these spent fuel assemblies are cool enough that you can
12 do that in there.

13 MR. TOUSLEY: All right. You're saying that it can be
14 done in air. Would it generally be done in air? I mean,
15 would that be the plan or is that not clear?

16 DR. BERNERO: Well, right now there is no system that
17 we're looking at that actually takes the fuel assemblies
18 loose and transfers them in air. With the exception of the
19 Fort St. Vrain--

20 MR. TOUSLEY: Well, the dual purposes canisters would
21 ultimately require that. Correct?

22 DR. BERNERO: Pardon?

23 MR. TOUSLEY: The dual purpose canisters would
24 ultimately require that the--

25 DR. BERNERO: No, not necessarily. You could take the

1 whole canister. The whole canister is transferred in air,
2 but there is no system other than the gas reactor, the one at
3 Fort St. Vrain, where the fuel itself is handled exposed in
4 air. It's always handled in a canister, sealed canister.

5 DR. NORTH: Bob Rasmussen, do you have contribution to
6 this discussion?

7 MR. RASMUSSEN: Yeah. I just wanted to follow-up on Bob
8 Bernero's question. I think one way to answer that question
9 is to say that unless the utility industry or at least the
10 individual utilities don't have some level of assurance that
11 there is a way to move fuel off-site without the need to come
12 back into a spent fuel pool, in general we are all going to
13 keep our pools or at least one pool per site operational.
14 I'm speaking I think for Duke Power as well as for utilities
15 in general. Obviously some other people are being forced
16 certainly in some of the shutdown reactor situations to go
17 ahead and shut that pool down. But again, without some level
18 of assurance which we believe the MPC system hopefully will
19 give us, I think we're looking at some pretty substantial
20 post-shutdown, spent fuel pool operational costs that we're
21 looking at unless we have that assurance.

22 If I got the numbers right, I believe in the
23 scenario where we begin spent fuel shipments in the year
24 1998, basically on schedule using a reasonable shipping rate,
25 I believe the average facility looks at about seven to eight

1 years of post-shutdown operation. In other words, seven to
2 eight years of having to keep a spent fuel pool open without
3 any way to move the fuel back into that facility. If we wait
4 until the year 2010, in other words, we skip the MRS facility
5 without a way to move fuel off-site, you're looking at about
6 eighteen years per spent fuel pool--I'm sorry--per facility
7 for post-shutdown operations. So I think there's some good
8 economic benefits to try to make sure that we've got a way to
9 move that fuel off-site without the need to keep those spent
10 fuel pools operational.

11 Thanks.

12 DR. NORTH: Lake, did you have a comment on this
13 subject?

14 MR. BARRETT: Just back to Dean's thing. Question on
15 the moving fuel in air. The concept we would do if the
16 utilities have the crane capacities is only move canisters,
17 so the fuel was inside a sealed canister. So fuel surface
18 never comes in contact with air or the environment. There
19 are designs and it's based on what the naval reactors people
20 have been doing for forty years, is you have a transfer bell
21 where you can move fuel assemblies out of a reactor on a boat
22 and put it into a shipping cask or a canister. That's a
23 transfer bell. This was done in the TMI unit two. That
24 concept we would look at to allow to use a large cask for a
25 utility that has a small crane. And that's part of the

1 corporate agreement we have with SMUD to do that. So that
2 technology is there generally, unless you have a transfer
3 bell or something, you don't have a fuel assembly, a bare
4 fuel assembly in the air without filtration and shielding and
5 such.

6 DR. NORTH: Thank you. Now let me call on Phil
7 Niedzielski-Eichner.

8 MR. NIEDZIELSKI-EICHNER: Thank you. I want to slightly
9 shift gears so if any of the other folks who have cards up
10 wanted to address this specific topic, I wanted to give them
11 the opportunity to do that.

12 DR. NORTH: Okay. Ken Miller?

13 MR. MILLER: Yeah. I just wanted to with the
14 enlightenment of the audience and for those that are not
15 aware, we have been working for some two years now with the
16 Department of Energy to put together a demonstration program
17 to do a dry transfer and the program has evolved. We've
18 changed the course that it's been heading several times, but
19 right now we're working towards a small cask transfer system
20 that would allow a smaller cask to go into smaller spent
21 fuel, bring it out, transfer it to a larger cask, and in
22 addition to that, a dry large cask-to-cask transfer. And
23 we'll be meeting in Washington with Jeff Williams and his
24 people on Friday of this week to continue those negotiations
25 and hopefully resolve some of the differences we have so we

1 can get on with this program as soon as possible, because I
2 think it's a benefit and something the nation needs for the
3 MRS.

4 Thank you.

5 DR. NORTH: Thank you.

6 Harald Ahagen, was your point on this discussion or
7 a new one? Okay.

8 Ben Smith?

9 Okay. For new ones, Phil has first in line.

10 MR. NIEDZIELSKI-EICHNER: Thanks. I wanted to take
11 advantage of the opportunity to have Ms. Sinclair sitting
12 next to Bob Bernero, Dr. Bernero, and have some interaction
13 on the assertions that came from Ms. Sinclair relative to the
14 Michigan experience and see if, Bob, you have some feedback
15 or some response to some of the assertions that were made
16 today.

17 DR. BERNERO: Well, in a nutshell, I think the essential
18 question is whether generic licensing by rule making is a
19 legitimate way to proceed. There has been a lot of criticism
20 of that in the Palisades case in particular, and it does go
21 back to the very blunt fact that what the Congress requested
22 in the legislation was a way to avoid site-by-site litigation
23 of what is a general action, and a general license by rule
24 making is what we had used there and that cask is the cask
25 for the Palisades reactor, the Arkansas Nuclear 1-2 reactors,

1 and also for I believe it's Point Beach reactors in
2 Wisconsin.

3 But the way it was done, it was not done by a site-
4 specific licensing and the people in the locale feel
5 frustrated because they don't have an opportunity for
6 hearing. They have an opportunity to comment on a rule
7 making but it's not the same, and that's the essential
8 frustration.

9 MR. NIEDZIELSKI-EICHNER: One follow-up. In that
10 context then, what's your sense of the appropriate
11 alternative? Is there an alternative or do you feel good
12 about the way in which that doubts come about, that approach?

13 DR. BERNERO: Well, you know, having done the safety and
14 the environmental review for that cask and for a few other
15 license facilities, we have in that regulation five different
16 casks. This particular one was the fifth one added to the
17 general license library, so that other casks could be used
18 under general license just like the Palisades cask, and I
19 think it's a reasonable way to do it.

20 MR. NIEDZIELSKI-EICHNER: The public acceptance though,
21 do you feel that there's a different way that could have been
22 handled?

23 DR. NORTH: Dr. Sinclair.

24 DR. SINCLAIR: Well, our position is we wouldn't expect
25 that every aspect of that site and that cask would have to be

1 dealt with in a hearing, but there's certain things that were
2 truly site-specific for Palisades and we felt that those
3 should have been subject to a public hearing. And they
4 include things like the emergency planning and, you know,
5 interest in sabotage protection, which was very high about a
6 year ago, and we saw nothing that we could comment on or do
7 in that case. And so, it was a totally frustrating thing,
8 for one thing. VSC casks are vented so that you have the
9 metal container inside would actually be subject to damage
10 quite easily if someone just threw a charge in through vent.

11 And so, there are a lot of aspects like that. And when the
12 NRC did the sabotage review, they actually used a metal cask
13 which is pretty solid and cannot be damaged in the same way
14 as a concrete cask that's vented. And so you have the metal
15 cask that's much more vulnerable to that inside.

16 So, I mean, it wasn't that we thought every aspect
17 of it had to be reviewed, but we did think--and we agree that
18 many things could have been generic, but we thought there
19 were certain site-specific things. For instance, placing it
20 in a high risk erosion area in a shifting sand dunes area,
21 it's a unique environment. I think naturalists have said
22 there's only four places in the world that have that
23 particular like mobile sand environment, and then there's no
24 place to ship it. And they even said there's no--
25 transportation is necessary. I'll say it was very

1 frustrating.

2 DR. NORTH: Would anyone else care to comment on this
3 particular point?

4 Yes, Dean Tousley.

5 MR. TOUSLEY: This goes to the issue of whether we have
6 new reactors in the future and the frustration that Mary and
7 Bob are discussing now about this particular generic rule
8 making will loom large in the new licensing regime for
9 reactors but they're going to have pre-approved reactor
10 designs by rule making. They're going to have sites approved
11 20 or 30 years before somebody might propose to build a plant
12 there, and when the rubber hits the concrete on actually
13 building a plant, the citizens are going to be faced with a
14 situation where everything was decided a generation ago.
15 It's going to be quite something.

16 DR. NORTH: Any other comments or questions on this
17 issue?

18 Let me go back to my list then, and invite Ben
19 Smith to make the next comment or question.

20 MR. SMITH: I'll switch gears again and get back to MRS
21 because I feel so strongly that if we could ever resolve the
22 issue of whether an MRS should be in the system or not we
23 could remove a lot of controversy from the debate, possibly
24 save a tremendous amount of money, and simplify the system
25 studies that need to be done on other elements.

1 It seems to me that MRS is caught in just an
2 untenable catch-22. On the one hand, if you make it a large
3 facility, unlinked to repository development, to me, it
4 represents just the most serious kind of threat to eventual
5 progress in developing a repository, and it does not to me
6 indicate a real break-through or demonstration of progress.
7 To me it indicates a lack of commitment to follow through on
8 a serious question of intergenerational equity of where we're
9 going to place this problem. Are we going to deal with it or
10 pass it on to our children?

11 So if you make it large and unlink it, you have
12 those problems. If you try to solve those problems by
13 providing a linkage to the repository or by limiting the size
14 of the facility, the linkage to the repository makes it not
15 cost effective, benefit cost ratio does not pan out. And the
16 other problem is, if you make it small enough, only a very
17 small number of utilities are going to actually use it, and
18 you're proposing to fund it out of the nuclear waste fund.
19 There's a serious inequity in this and I would like to see
20 someone propose how to get MRS out of the catch-22 that seems
21 hopeless to me.

22 DR. NORTH: Would anyone like to rise to this challenge?

23 Okay, Dr. Starr?

24 DR. STARR: I think the catch-22 is more forensic than
25 it is a real issue. You've diagnosed a situation which

1 doesn't exist. The situation that exists is that we have a
2 massive effort on a permanent repository and the MRS is being
3 brought in to amend the system. And the question is whether-
4 -this is a question you asked before. Whether bringing the
5 MRS does improve the total system performance or not. I
6 haven't heard anybody raise the issue and I don't know of
7 anybody in the industry that's raised the issue of not having
8 a permanent repository.

9 The question of the MRS is whether it is an
10 effective add to what already exists, an effort nationally to
11 get a permanent repository and the factual situation of on-
12 site storage. Does the MRS improve that situation or not?
13 And you've heard this morning many of the factors that have
14 to be considered, and I think you asked before and I agree
15 with you; there ought to be some good system analysis on this
16 to see what happens.

17 But one mustn't overlook the point which I made
18 before. That there are some intangibles involved. One of
19 the intangibles is the credibility of the federal government,
20 not only now but for future generations as well. The
21 government is notoriously fickle when it comes to
22 intergenerational activities, and I think some demonstration
23 of some consistency would be a great benefit.

24 I think you're straining at the wrong issue. I
25 think the real issue is the one you brought up before.

1 MR. SMITH: I'm sorry. I just really didn't detect an
2 answer to my catch-22 there. I didn't hear an answer to the
3 equity question either intergenerational or for the small
4 number of users that would have an opportunity to store waste
5 at a limited MRS site.

6 DR. STARR: Well, the size of the MRS is something that
7 has to be determined by system analysis, so I don't know of
8 how small it's going to be. And again, the intergenerational
9 part is supposed to come out of the total system analysis,
10 the permanent repository is supposed to take care of the
11 intergenerational responsibility. I think you raised the
12 right details. I don't think that the answer's going to come
13 out of picking any one of them alone.

14 DR. NORTH: There are four cards up. Who would like to
15 participate next on this point?

16 DR. SINCLAIR: Well, I'd like to address what was just
17 discussed. I think the Congress limited how much you could
18 put in an MRS because the fear arose that if you have an MRS,
19 then you would not go on for a repository. And so, that's
20 the limiting factor. It's not how much waste you have out
21 there to go into an MRS, and I think that's what you mean by
22 a catch-22.

23 DR. NORTH: I apologize. I didn't see your card behind
24 the water pitcher.

25 Let's see. Others?

1 Dr. Price.

2 DR. PRICE: Yes. I think my card has been up since
3 about ten minutes into the discussion. We passed it down a
4 little ways.

5 DR. NORTH: So I can see it. Sorry.

6 DR. PRICE: I didn't want to interrupt those questions
7 on systems analysis anyways, but I want to raise a different
8 question, and that is, are the institutional issues that
9 we've been addressing this afternoon and then the others that
10 we did not address, are they really intractable? Are they
11 tractable? Because one person suggested that if we would
12 find consensus on waste disposal, we must first address the
13 question about waste generation, and I think some people here
14 would find that implication intractable.

15 People who are running for political office
16 certainly cannot come down very easily in favor of a siting
17 of a facility, and there may be other illustrations. So if
18 institutional consensus is so greatly important, is this
19 intractable?

20 DR. NORTH: Would anyone like to rise to that challenge?

21 William Magavern.

22 MR. MAGAVERN: I think that the institutional problems
23 are really very polarized right now and may well be
24 intractable. I think that's entirely possible. I think we
25 need to find out. I don't think we're at the point now where

1 we should give up, but I think that we need to really take it
2 to another level and that's why many of us have called for an
3 independent review. I know the Technical Review Board has
4 called for a review of the high-level waste program and
5 Chairman Sharp and Chairman Lehman have done the same thing.

6 We think it should be broader and should go into all
7 radioactive waste. And I don't want to sound like I'm
8 putting all the blame here on DOE, because I want to
9 recognize that DOE is carrying out the mandates of Congress,
10 which has made incredibly cowardly decisions that have been
11 driven not by science but by politics and have been done in
12 the way that most recently last year an 11th hour, back room,
13 dirty deal that was done in conference, and then it leaves
14 DOE and NRC to deal with it.

15 Now, ultimately if we're going to have change here,
16 it's going to have to come through Congress, but it shouldn't
17 start with legislation. We have important people in Congress
18 like Chairman Sharp and Chairman Lehman who are calling for
19 at least some kind of review, and I would like to see the
20 executive branch, starting with the President and the Vice-
21 President, take this issue and commission a group of experts
22 to look into it. And I'm not talking about another technical
23 review or just review of the finances, but of the whole
24 problem to see if we can arrive at some consensus on these
25 institutional issues.

1 And just to briefly give two examples of where
2 dealing with the waste generation has led to a resolution on
3 what you do with the waste storage, I thought Mr. Miller's
4 presentation was very interesting. In Sacramento, where you
5 had the only situation ever in this country where a nuclear
6 powerplant was shut down by a popular vote, they had very
7 little opposition to their waste storage plant. So there's
8 that much antinuclear activism, but once they shut it down,
9 they can turn it into a golf course and start building solar
10 facilities which is something I think a lot of utilities here
11 would love to have. And the situation is similar in a couple
12 European countries. Sweden, which has already decided to
13 phase out its plants, and in Germany right now, they're
14 seeking an energy consensus which would involve shifting
15 their waste plant from reprocessing to direct disposal and
16 reaching a consensus on how long the current plants would go
17 on operating and whether or not they would ever build new
18 ones.

19 DR. NORTH: Bob Mussler?

20 MR. MUSSLER: I think that we've gotten evidence that
21 it's not intractable. I think the message to us has been
22 it's a challenge of communication. And the evidence we have
23 is when--one of the things is done is citizens are sent to
24 the existing dry storage facilities at County and Surry just
25 to look at it, Calvert Cliffs. Skeptics, antis go and

1 generally the response is positive. So, the bottom line is
2 that the technology appears to be comprehensible by the
3 average person, if the average person can get the information
4 about it. So as I say, the challenge we see probably is one
5 of communication and being able to get people to understand
6 what it is we're dealing with. And it's intractable if we're
7 unable to adequately meet that challenge, but it's not
8 intractable by the very nature of the thing.

9 DR. NORTH: Jonathan Kapitz.

10 MR. KAPITZ: A follow-up comment to the question about
11 inequity of an MRS.

12 DR. NORTH: Why don't you go ahead.

13 MR. KAPITZ: Okay. The perception that if you don't
14 actually use--your utility doesn't actually use an MRS you
15 don't benefit from it, I think if you look at the whole
16 scheme of things and the decommission of a plant and that
17 utilities cost be driven on decommission by wanting to get
18 that last fuel assembly out, if an MRS can help the DOE get a
19 jump on starting to accept fuel and start that process that
20 much earlier such that they can get people's fuel out that
21 much earlier, if it gets a ten year jump on accepting fuel
22 while we're working on a repository, just because your fuel
23 somewhat didn't go to the MRS, if your fuel somewhat does get
24 out that much earlier because we had that in the system, then
25 you do benefit from it. It's not just a matter if my fuel

1 somewhat gets there I benefit from it, and if mine didn't I
2 don't benefit from it. I think if it helps the DOE meet
3 their commitment, start meeting their commitments earlier and
4 finish their commitments earlier, everyone does benefit from
5 that.

6 DR. NORTH: Ben Smith, would you like to follow that?

7 MR. SMITH: Well, that view is somewhat subjective and I
8 wasn't intending to follow that. I wanted to talk about this
9 intractable situation. I don't think it's intractable at
10 all. As a matter of fact, I've developed more optimism about
11 the National Spent Fuel program that I've had in years.
12 After I read the DOE report of the Task Force on Alternative
13 Program Strategy, I really had a lot more hope for the
14 program. They were proposing a step-wise development of the
15 repository which I think tends to take away some of the
16 intense pressure the State of Nevada has felt for a crash
17 program to develop the repository. The MPC process allows
18 finally a rationalization and a standardization of what could
19 be done at reactor storage. To me, these two key issues are
20 the ones that have sort of hamstrung the program. The only
21 wild card that you throw in to confuse the whole national
22 program is an MRS, and I think it creates just a tremendous
23 controversy on all sides as to what the intention of the
24 whole program is. And if you take that wild card out, then I
25 think the MPC and the step-wise development of the repository

1 really offer real hope for the program.

2 DR. NORTH: Harald, you've been very patiently waiting.

3 DR. AHAGEN: I've been following this program since I
4 think '79 and I still have not understood what is the U.S.
5 concept, and I divide it up in two parts. What is the
6 technical concept and what is the institutional concept? If
7 I was representing a state that would see the benefits that
8 Robert Mussler put forward here, I would ask it's the
9 negotiator--I mean that process as far as I can tell being
10 questioned. Is DOE for real? Is NRC regulations for real?
11 They're being reviewed by the National Academy of Science.
12 Is this MPC concept here to stay, or will it go away
13 tomorrow? And having said that, if I was a state and I go in
14 there and I know that there will be all these discussions
15 about what the concept is, both institutionally and
16 technically, I don't think I would take that risk.

17 And then I would like to respond to the Swedish
18 phase-out. It's not that simple. We have a decision in
19 parliament that we're going to phase-out reactors by 2010,
20 but as all laws, that can be changed fairly rapidly.
21 Actually more than 80% of the Swedish population does not
22 believe that we will phase-out our reactors. I don't think
23 that's why we are successful in siting our facilities. I
24 think it's because of the concept we have, a technical
25 concept, that is fairly transparent and has stayed so for

1 many, many years. And we have an institutional concept. We
2 have an organization that has been very stable for many
3 years. So I think our municipalities walk in and I think
4 they trust, if they start in negotiation, that institutional
5 framework is there to stay.

6 MR. MAGAVERN: Well, I think you're probably ahead of
7 us.

8 DR. NORTH: Okay. Phil?

9 MR. NIEDZIELSKI-EICHNER: I wanted to respond to a
10 couple of points that were made, one by Bob Mussler and one
11 by Ben.

12 Bob's point about his optimism relevant to the
13 improvements in communication can help remove some of the
14 intractablness of the challenge here I think is part of the
15 answer, but only part of it. I really do feel that a
16 significant part of this is also one of control. We have to
17 recognize that we're dealing with a great deal of mistrust
18 here and the way in which mistrust can be dealt with is to
19 bring down to the lowest level possible some type of control
20 so the local citizenry and/or the state can exercise some
21 meaningful controls such that if they feel health and safety
22 is jeopardized in some form or another, that they have some
23 recourse. And I just think that's in the cards for the
24 future for this issue as well as for other hazardous waste
25 issues. Local controls are a factor and if local control

1 cannot be exercised, I think it is going to be intractable.

2 A second point, you know, Ben, the alternative
3 strategies, you know, it's interesting and we feel a lot of
4 effort went into it and we commend the effort to some extent,
5 but let's don't fool ourselves. A small step approach is no
6 less of a problem for Nevada and Nye County in the sense of
7 this institutional control than a big step. If the issue is
8 one of is the site going to be technically sound, is it going
9 to be scientifically considered, or are there political
10 interests going to overwhelm those? And if you have one foot
11 in the door, so to speak, at least our perspective is, then
12 you have--it's the camel with the nose under the tent kind of
13 thing. So I think we have to be realistic that even the
14 alternative strategies, as much thought that was given to
15 that, opens the door for this institutional momentum to be
16 perhaps even greater.

17 And the second thing related to this is we have no
18 contingencies. So even if there was a small step taken at
19 Yucca Mountain and Yucca Mountain was again found unsuitable,
20 there are no national contingencies and we feel that has a
21 significant bearing on this institutional momentum as well.

22 DR. NORTH: Thank you.

23 Any response to that? Ben Smith? Yes.

24 MR. SMITH: I appreciate your observations on the Task
25 Force report and that gives me another perspective on it. It

1 does seem that there would be somewhat less pressure to prove
2 a production schedule and go into full disposal in 2010 if
3 you had a step-wise approach where you were continually doing
4 research and proving that you needed to go to the next step.

5 I certainly agree with you that there needs to be a
6 contingency planning process that kicks into place at the
7 very moment that Yucca Mountain might be considered to be
8 unsuitable for a repository and we don't have that. That's a
9 big missing element in the national program.

10 The other observation I'd like to make is when you
11 turn repository development at Yucca Mountain into a step-
12 wise process, more of a research and development process
13 rather than a purely development process, what gets cut first
14 in hard economic times is research projects. If you have a
15 big MRS sitting out there ready to receive waste, and the
16 Yucca Mountain project is essentially a research project,
17 guess what's going to get cut and guess where the waste is
18 going to be? That's the big fear in the program.

19 DR. NORTH: Any response on that particular point?

20 MR. NIEDZIELSKI-EICHNER: If I could just follow up on
21 that. Well, I tell you what; I'll hold off.

22 DR. NORTH: Any other comments on this particular point?

23 MR. KAPITZ: I guess if the concern is loss of money and
24 loss of funding that the research might be cut, that might be
25 another good case for what people talked about, about getting

1 the funds off budget and--pressures that might cause things
2 to be cut that shouldn't be cut.

3 DR. NORTH: Mr. Holden?

4 MR. HOLDEN: Robert Holden. It's not budgetary issues.
5 It's also I guess the faith of some tribal governments. You
6 said previously tribal governments do have that ability to do
7 whatever they want, whether it's put together a tribal
8 convenience store, a bingo parlor and MRS project. That
9 comes under sovereignty, attributes of sovereignty--as long
10 as we hope they inform their citizens and to make that
11 internal decision as the MRS process is--it was a long way
12 from a done deal. Remember, a lot of it was internal. But I
13 guess what I've been approached was if the people are brought
14 up to a certain point, does it appear that Congress will
15 force them to take it after they've done all of this
16 negotiation and they decide they do not want it even though
17 they've put it aside and so forth, and so far down the
18 process they can't stop, my response was I don't think that
19 that's the case, but what we're hearing from some tribal
20 leaders in other parts of the country is that there might not
21 be so much on the front end as it is at the back end after 40
22 years. That tribal government, if it's a host, might be
23 forced to accept that repository or accept that MRS as a true
24 repository, because it wouldn't be the first time a treaty's
25 been broken.

1 DR. NORTH: Any others on this particular point?

2 Dr. Sinclair?

3 DR. SINCLAIR: Not at this time.

4 DR. NORTH: Or another point?

5 DR. SINCLAIR: I have another point.

6 DR. NORTH: Okay. Dr. Rao has been waiting patiently.

7 DR. RAO: I'd like to add a little bit different
8 perspective.

9 DR. NORTH: Could you speak a little louder? A little
10 closer to the mike.

11 DR. RAO: In Canada we have what we call the Atomic
12 Energy Control Board, AECEB, which is the counterpart of the
13 NRC here. And one of the documents they put out which is
14 crucial to this whole program is called R-104. And the point
15 that I'd like to sort of mention out of that is the document
16 does not put emphasis on the--disposal. They recognize that
17 disposal is a long-term solution, is needed, but they almost
18 say taking the social and economic factors into account, if
19 you can institutionally manage your spent fuel, you could do
20 so for at least a few hundred years. And this--R-104 has
21 been to my opinion grading the Canadian program in a way
22 where none of the agencies, the AECL or Ontario Hydro talk
23 about the urgency of disposal. We take this program to take
24 its own shape. Some of the issues that need to be discussed
25 are like what we discussed here, will be aired next year as

1 part of the public hearings. In fact, about nine issues,
2 what we call broad issues all dealing with institutional
3 aspects and the aspects of urgency, aspects of alternatives,
4 all these will be part of the hearings and probably Canada
5 will see what the public has to say, what the government has
6 to say, what the different panels have to say, and additions-
7 -probably two years from now. How urgent is disposal?
8 Should we go in for it right away or should we go in for
9 contingency planning like what we call extended storage.

10 At one time the--it was supposed to go with the
11 reprocessing option but unfortunately it was--not
12 economically--fuel, natural uranium at 25% to 40% weight
13 content sitting in Canada underneath. So the reprocessing is
14 not in the cards at least for the foreseeable future to come.

15 So given this thing, the Ontario Hydro has come up with a
16 corporate plan which was done with a one year study by a
17 special task force appointed by the president of the company.

18 The corporate plan looks at 2025 as a disposal date but in
19 no way is it carved in stone. It recognizes a number of
20 decisions to be made because now we're in 2025 and Ontario
21 Hydro, both Hydro and AECL will do what is needed for the
22 right to--evolve as it goes along and in some way I find the
23 Canadian program is less carved in stone than the American
24 program. I hear you guys talking about 2010 and a squeeze
25 between MRS and the repository. For some reason, we don't

1 have that kind of an urgency.

2 DR. NORTH: Yes. There's the perception which is
3 expressed in our Board's special report about the U.S.
4 program being scheduled driven, and it's nice to see an
5 example across our northern border of one that is not.

6 Bob Mussler, I think you were next.

7 MR. MUSSLER: Yeah. The issue of the permanence of an
8 MRS that becomes a--repository, if it's sized such that it
9 solves a particular problem, 20%, maybe 30% of the fuel, if
10 you still have 70%, 80% of the fuel out in reactors around
11 the country, I have trouble seeing how those kind of numbers
12 create a solution that then takes pressure off of the
13 permanent repository and the momentum to develop a
14 repository. What it would do would create--there's clearly
15 an urgency we're looking at relative to interim storage.
16 That's one of the issues associated with interim storage, is
17 an urgency associated with the ability to continue to
18 operate. That pressure, clearly if the only thing you have
19 is a repository, there is--we're talking about schedule
20 driven and pressures, if the MRS's purpose is to really in a
21 large part address a particular problem that we have in the
22 intermediate term, I just don't see how with those kind of
23 numbers we no longer continue to working on an MRS.

24 It's come up many times and everybody says we have
25 an MRS, how can it not be a permanent repository? Won't it

1 take pressure off? Just a question of numbers. And as I
2 said, 20%, 30% may be--you're still going to have a lot of
3 utilities with a lot of need to--a lot of interest in getting
4 it moved.

5 DR. NORTH: Responses on this particular point by Ben
6 Smith?

7 Bob Bernero?

8 DR. BERNERO: Just one. That you're working on the
9 other side of my catch-22. If you got your small MRS and
10 it's only 20% of the fuel, why is it being funded out of the
11 Nuclear Waste Fund where all the utilities are paying into it
12 as if they were going to use it equally? That's the
13 unfairness part of the catch-22. You may limit it so it's
14 not such a big threat to the repository, but then you got a
15 totally unfair financing of the project.

16 MR. MUSSLER: Well, okay. Let me respond to that. The
17 way I understand it working is that we have a waste
18 acceptance schedule that is oldest fuel first based, okay?
19 So that will create rights, and those rights will be
20 marketable to allow for adjustments in the system vis-a-vis a
21 utility that doesn't have a full pool, it's got a lot of room
22 but has a right, and another utility who is getting filled
23 up, is going to have to shut down and now can buy that right.
24 So there is--it seems like--I don't know, it's a gut feel
25 from me that there's an incredibly equitable situation if you

1 accept the Congressional intent of beginning to accept fuel
2 in 1998. If you start with that, if you think that's a bad
3 idea, that the United States shouldn't--that the federal
4 government shouldn't have committed to beginning accepting
5 fuel in 1998, then right, we have nothing to talk about. But
6 that's the law. It's right there and we look at it. So if
7 you look at that, then the question is now, what's a logical
8 purpose of an MRS and what would be the most equitable
9 approach to it. And this just seems--I don't know, maybe I'm
10 missing something.

11 DR. NORTH: Of the four names I have down, Dean Tousley,
12 Bob Rasmussen, Mary Sinclair, Bob Bernero, who would like to
13 address the point that's up for discussion now? Or are they
14 all new points?

15 Okay. Bob Rasmussen.

16 MR. RASMUSSEN: Yeah. Just to hit on that point real
17 quick, I think Bob mentioned the real answer to that, and
18 that is the fact that we have equity built into the system by
19 virtue of the allocation process which is oldest fuel first.

20 It's true that every utility is putting funds into the
21 program and therefore every utility has an investment, is
22 anxious for some response, but I think it's also fair to say
23 that those utilities with the oldest fuel have put more money
24 into the system and that's what really drives the equity
25 situation. On the other hand, too, the trading rights,
26 things of that nature will help level out those needs of

1 utilities that have--rather that have needs against those
2 that don't really have a need, yet they have the allocations.

3 Also, I want to point out, too, that related to the
4 size of the MRS and the capacity of the MRS, going back to
5 the 1989 MRS review commission, I think the conclusion that
6 that group made also was that the repository linkages and
7 therefore the capacity of the MRS, both annually and in total
8 capacity, needed to be increased in order for the facility to
9 serve some usefulness for the industry. So I wanted to point
10 that out as well again in relationship to these linkages that
11 seem to hold back the usefulness of the MRS.

12 Also wanted to explain or mention that I was
13 pleased to hear Lake Barrett this morning start to include
14 the issue of societal impacts. That's something that I think
15 we haven't heard much of in the past and that is the fact
16 that if you include the reactor facilities, the utilities
17 that are the ones that are paying into the fund, once you
18 include those facilities into the total system costs of these
19 decisions, you do conclude that there is a financial benefit
20 to an MRS, and I think this pretty much gets into what John
21 Kapitz referred to a little bit earlier, that there is a
22 benefit no matter what the size. And I think the greater the
23 size, the greater the benefit.

24 DR. NORTH: Okay. Let's see. On this specific point I
25 have four still; Dr. Sinclair, Dean Tousley, Bob Bernero and

1 now William Magavern. Who among you would like to speak on
2 the point we're discussing?

3 William Magavern then.

4 MR. MAGAVERN: Yeah. Just briefly. I am someone who
5 does think that it's a bad idea for the federal government to
6 accept waste in 1998 and I think that if that line drives
7 decisions, then it's going to force a lot of mistakes that
8 will become very costly to undo later on.

9 DR. NORTH: Nonetheless, I think responding to that
10 direct point, there is a contract there or what is perceived
11 to be a contract.

12 MR. MAGAVERN: I think it's unclear whether or not it's
13 a contract.

14 DR. NORTH: Okay. We can add that as a point for others
15 to address, but at this point let me go to Dean Tousley.

16 MR. TOUSLEY: As representative of the political branch,
17 I didn't want this discussion to end without raising a fairly
18 controversial political question. And I have to preface it
19 by saying that I worked as an attorney for the Yakima Indian
20 Nation for almost six years and for NCAI for two years in a
21 high-level waste program, and I'm very supportive of tribal
22 sovereignty. Our committee is very supportive of tribale
23 sovereignty. We have jurisdiction over Indian issues as well
24 as nuclear waste issues.

25 The question I have is, I don't think there's any

1 doubt the tribes have the sovereignty, both in Indian law,
2 case law, and in the Nuclear Waste Policy Act to decide to do
3 this, to host an MRS or, for that matter, a repository,
4 without the consent of the state or the surrounding
5 communities. Legally they clearly can do that.

6 The question I have is, is that a wise road to
7 proceed down? It's sort of like the negotiating process was
8 created to try to avoid the political problems of coercive
9 siting. But when you have a volunteer that's relatively
10 small surrounded by larger entities that are violently
11 opposed, it's the same exact situation that Ben had in
12 Tennessee in 1987. The City of Oak Ridge was firmly
13 supportive of hosting an MRS facility and the State of
14 Tennessee was just as firmly opposed. And I'm wondering if
15 we're really achieving what we wanted to from the negotiated
16 process by pursuing this with--I acknowledge also that it was
17 Congress that made this decision.

18 DR. NORTH: Bob Mussler, you had a response on that?

19 MR. MUSSLER: Yeah, I guess I need to respond to that.
20 The statute says that the negotiator is supposed to consult
21 with the state and local communities to identify what their
22 interests are and to include those interests in the agreement
23 that is negotiated to the extent practical.

24 We've interpreted that as create an obligation not
25 to do what you just suggested, which is over the objection,

1 over the--just to create a problem. We see that the
2 legislators saw it as a--that's part of the solution, is to
3 include the surrounding communities in the discussions for
4 the negotiation and then ultimately their interest in the
5 agreement. The negotiator's job is to present a reasonable
6 agreement to Congress for their consideration and it's the
7 negotiator's--it's his discretion as to whether he has a
8 reasonable agreement or not to present. There's no mandate
9 that he present whatever he comes up with; good, bad or
10 terrible. So by exercising that discretion, I think that a
11 responsible negotiator would approach the job from if he
12 can't create a solution with the agreement and with the
13 process, that's not what was intended and the Congress is not
14 going to be very receptive to receiving such an agreement.

15 DR. NORTH: You have a follow-up?

16 MR. TOUSLEY: Does that mean that as a practical matter
17 there will be a veto on the part of states and surrounding
18 communities or--

19 MR. MUSSLER: No, that's a very important distinction.
20 There are positions and there are interests, and the statute
21 talks about interests. At a sophisticated level that's very
22 important because it says that the agreement has to address
23 the interests of the state and surrounding communities, not
24 the positions. So, to the extent that the interests can be
25 ferreted out, in other words, what are the interests that

1 support a position, what are the issues that are the cause of
2 a position, the negotiator's challenge is to ferret those
3 out. Find out what the interests are and to seek to address
4 those in the agreement. That is much different than saying a
5 veto would be essentially a position could effect the
6 viability. No, it's not the position but it's the interests.

7 And if genuine interest cannot be adequately addressed, what
8 I'm suggesting is there's a possibility we cannot have a
9 reasonable agreement. It's a different thing than saying
10 positions control.

11 DR. NORTH: I think at this point we're going to cut off
12 raising cards so we can let the audience participate starting
13 at 4:30. So Mr. Holden, you're the last one.

14 Okay. Are you responding to this particular point?

15 Okay. Go ahead.

16 MR. HOLDEN: Just in response, I have to give--credit
17 because when he was talking to the tribal organizations and
18 tribal governments, at one time he stated that a tribe was
19 wanting to become host for an MRS, that if there was too much
20 outcry from the surrounding jurisdictions that they probably
21 wouldn't go through. I guess my question to him was, well,
22 if that's the case, if a tribal--or state didn't like the
23 idea, what's your response to that. And so he said, well,
24 we'll think about that. So from that point on there's some
25 dynamics that he thought about the jurisdiction and true

1 sovereignty of the tribes which has played itself out. But
2 there are also some local dynamics in my mind and I'm not
3 sure just to talk about the New Mexico incidence where the
4 legislation arose from. Part of it may be that the New
5 Mexico delegation thought that they had contributed enough to
6 the facility but still none of the tribes in the region had
7 been contacted in terms of impact, whether it was
8 transportation or whether it was natural resource or anything
9 for that matter. Also, some of the--litigation in Indian law
10 has come from New Mexico. One of the most longstanding water
11 rights cases was adjudicated along the Rio Grande so out of
12 Mescalero came a significant win for Indians in terms of
13 hunting and fishing rights.

14 DR. NORTH: Let me ask Dr. Sinclair to go next.

15 DR. SINCLAIR: Well, I wanted to bring a totally
16 different concept before this group. We've just talked about
17 Yucca Mountain as the ultimate repository, but sometime ago
18 in connection with some studies I did at the University of
19 Michigan, I had the opportunity to interview Walter J.
20 McCarthy and some of you perhaps know him. At that time he
21 was Chief Executive Officer of Detroit Edison and had a lot
22 of experience with the construction and operation of the
23 Fermi 2 plant. And he offered this all of his own accord.
24 He said any idea that you can build, create a hole in the
25 ground where you're going to put this waste, cover it up and

1 forget about it, is something that we should get rid of that
2 concept because you can't do it. We have to have above
3 ground monitored retrievable storage for high-level nuclear
4 waste and we've got to watch it and it has to be something
5 that we never let go of. We can't lose track of it. And I
6 just thought, you know, we've kind of narrowed our thinking
7 and maybe there are other things we ought to be thinking
8 about.

9 DR. NORTH: Well, I interpreted Dr. Starr's remarks this
10 morning as somewhat in the same line. I don't think he would
11 have said never. He said a century. And I think he didn't
12 talk about it necessarily being aboveground, that underground
13 was a possibility as well. But certainly some broadening of
14 the dialogue is I think supported by a great many people.

15 Let me go to Bob Bernero.

16 DR. BERNERO: I would just like to add a quick
17 observation. For us to take the attitude that Walter
18 McCarthy suggests of committing society to the indefinite
19 custodial care is essentially what we are doing with
20 hazardous waste. RCRA hazardous waste is at surface
21 monitoring with really a 30 year time horizon, and it's
22 perpetual custodial care. I think it's innovative and
23 different for nuclear waste to look for no credit or
24 consideration beyond a hundred years and looking for passive
25 solutions.

1 DR. NORTH: Phil?

2 MR. NIEDZIELSKI-EICHNER: Real quick. I just wanted to
3 note, following up on Dean's comment. Oak Ridge's support
4 for the MRS was firm but it was conditional and the
5 conditional part gets back to my earlier point. Their
6 support was conditional upon some element of local control
7 and oversight.

8 DR. NORTH: Okay. It is now 4:30 and we will have some
9 comments and questions from the audience. I would ask that
10 each of you stay in place because the questions or comments
11 may be directed to you. I would ask that the members of the
12 audience who wish to make a comment or ask a question state
13 their name, their affiliation and keep their remarks to three
14 minutes with no more than one follow-up question.

15 Yes, go ahead.

16 MS. THORPE: My name is Grace Thorpe and I'm a health
17 commissioner for the Sac and Fox Tribe in Oklahoma, and I'm
18 also the president of the National Environmental Coalition of
19 Native-Americans.

20 First I'd like to make a short statement and then I
21 want to ask a question. There are about 365 tribes in the
22 United States today. We have four that are involved in the
23 MRS process. That's roughly 1% of all the tribes, which
24 means that 99% of them don't want to have anything to do with
25 the nuclear waste issue. I think that if it was put to a

1 vote of the people, as it was in my particular case, my
2 tribe, the Sac and Fox were the first to withdraw from the
3 MRS process. Out of 75 votes, 70 of the people voted to
4 withdraw. The five that voted for it were members of the
5 Tribal Council. I think that you would find that would be a
6 similar situation with the other tribes. I do not know why
7 you have not taken this as a referendum to the tribes that
8 are now in the MRS process. I think you're going to waste a
9 tremendous amount of money if you go through all these
10 individual studies and then you find that the people are
11 going to vote it down. But of course, that relates to the
12 question that Mr. Holden said, that if they go that far into
13 the process, then will they be stuck with it regardless. I
14 agree with the setting up a blue ribbon commission to study
15 the entire process.

16 Now, I have a little question I think to the Office
17 of the nuclear waste negotiator, but I'm not quite sure where
18 the funds come from. But now that the Phase IIB grants in
19 the monitored retrievable storage, or the MRS process, has
20 been cut, effective October the 26th, what does the law say
21 now about where you can go for funds if you wish to continue
22 the MRS process with the Indian tribes that are involved?

23 DR. NORTH: Bob Mussler?

24 MR. MUSSLER: The Department of Energy had and still has
25 the authority to provide financial assistance for

1 participants in the negotiated siting program. That
2 authority was not affected by the Energy and Water
3 Appropriations Act. I have to tell you that that was an
4 option that was considered in terms of communications with
5 the Hill and the staff, and it didn't happen. They got rid
6 of Phase IIB and they left the legislative authority for
7 financial assistance in tact.

8 Now, what does that mean? As I said, you know, a
9 couple hours ago, we're anticipating having a negotiator
10 confirmed perhaps as soon as tomorrow, and clearly one of
11 the--and we just had the law that wiped IIB occur last week.

12 So with the closeness of those two activities, I think that
13 the answer is that one of the first things that he's going to
14 have to address is what he wants to do and how he wants to
15 communicate with the Department of Energy with respect to the
16 situation where there is no established grant solicitation
17 right now to cover participation on our program by mature
18 interests. And as I said, that'll be perhaps the first thing
19 he looks into hopefully tomorrow, if it gets confirmed
20 tomorrow.

21 DR. NORTH: Thank you.

22 MR. MUSSLER: And one other comment I wanted to say was
23 the fact that there are four tribes, the Nuclear Waste Policy
24 Act amendments that established our office required us to
25 respect tribes as separate entities. The fact that there are

1 only four, if there was only one we would still have the
2 responsibility as a federal agency to respect their decision
3 as a tribal government to participate in this program, and
4 that's what we've done.

5 MS. THORPE: Why don't you ask for a referendum sooner?
6 A referendum of the people.

7 MR. MUSSLER: Yeah. We could get into the involvement
8 in terms of mandating how a particular Indian tribe conducts
9 its internal affairs, but that's not our business whether
10 they have elected representatives that we deal with and to
11 mandate that they are required to do something to satisfy us
12 relative to how they govern themselves is far, far beyond any
13 scope of authority that we would even think of. We basically
14 have to respect the fact they are tribal governments that are
15 established and operating in a representative capacity.

16 MS. THORPE: Yes, they were established--

17 DR. NORTH: Thank you very much. You've used your time
18 and your follow-up question.

19 Okay. Yes, go ahead. Please go to the mike and
20 introduce yourself.

21 MR. STUART: My name is Ivan Stuart. I'm with the
22 Nuclear Assurance Corporation in Atlanta. I have a request
23 of the Board, and that is that I would like the Board to
24 consider asking the DOE to do a specific evaluation on the
25 subject of multi-purpose containers before the program goes

1 too much further. And the reason I ask this of the Board is
2 that I have made the same request of DOE for several years
3 now and I'm always told that this study will be done but
4 somehow it never quite gets done.

5 The study is the following. I would like what I
6 would like to call a zero-based budgeting evaluation of the
7 transportable storage cask in the DOE program. By that I
8 mean start from scratch where you look at the current STC
9 which, if I might be so bold, I think Bob Bernero is telling
10 me I finally found one that he might license. If you take
11 that and you assume that that will be used in the program and
12 you try to evaluate all of its benefits as well as its costs,
13 because I think everyone feels that it is the most costly
14 option. But if you evaluate all its benefits, then I think
15 you will have done what I call a zero-based budgeting
16 evaluation of that option.

17 Now, the reason I ask that again is that each time
18 I ask DOE, they say it will be done but it doesn't quite get
19 done. And as I listen to, for example, Lake Barrett this
20 morning, he said they looked at the transportable storage
21 casks and showed that it was the most costly option, but
22 that's because he assume you're going to throw the cask away.

23 And I would like to know why we have to throw it away.
24 Perhaps it will be a good burial cask. Likewise, when
25 someone says we must have burn up credit, I think the MPC

1 program might be in trouble with the NRC and therefore might
2 not happen. Whereas, the transportable storage cask doesn't
3 require burn up credit. So that's my request.

4 DR. NORTH: Who would like to respond to this? Lake or
5 Ron, would you care to respond on behalf of DOE?

6 MR. MILNER: I think you start from the STC as the
7 basis. It's an interesting characterization of zero-based
8 budgeting, But presumably, if you're going to do a
9 legitimate look-see at the numbers, the results would be the
10 same whether you started with that as the zero base or multi-
11 purpose canisters as the zero base, or bare spent fuel
12 handling as the zero base. And I think those kinds of
13 studies have been done.

14 In terms of throwing away the transportable storage
15 cask, I think in essence we do do that unless you can dispose
16 of it, in which case you certainly are writing the cost of
17 that off versus the waste package.

18 DR. NORTH: Mr. Stuart, would you like a follow-up
19 question?

20 MR. STUART: Perhaps a clarification. I'm obviously not
21 being very clear in what I mean by zero-based. As I looked
22 at the concept design report for the MRS, what I discovered
23 there is that for the case of the transportable storage cask,
24 it was still assumed, because that was the specification,
25 that 80% of the fuel would arrive at the MRS in the truck

1 cask. And so, in my view, you didn't take all of the
2 advantages of a transportable storage cask but you took all
3 of the costs.

4 So what I'm saying is, if you take the
5 transportable cask as it is now conceptualized or about to be
6 licensed, and said I would like to know what it would do for
7 me in the program, assuming it is perhaps burialable,
8 assuming it is transportable and storable and can be
9 transported at any time and so forth. Every time I see a
10 study, it's always a study that says it's a little bit less
11 than some other case but it never starts with the base and
12 says what can I do with this particular product in the
13 program, as for example, Mr. Barrett's case, where he said
14 it's \$4 billion more than another case. But that's because
15 he assumed it would be thrown away.

16 That help to clear up what I mean by zero-based? I
17 mean, start with the cask and say it's transportable, it's
18 storable. And if it were burialable, what would it do to the
19 program in terms of benefits and costs?

20 DR. NORTH: Please introduce yourself.

21 MS. SANDERS: I'm Jan Sanders. I'm with Peace Action, a
22 grassroots peace group working over decades in connection
23 with nuclear dismantlement.

24 Reading the letter that this Board is responsible
25 for defense-created high-level waste, the concerns are

1 related to the disposal. As many of you know, Pantex,
2 located in Texas, is where all the nuclear bombs were
3 assembled. It is there where they are being disassembled.
4 The plutonium pits that are taken out of the bombs are part
5 of the assignment evidently that has belayed this Board, and
6 I would just like to have some kind of general comment as to
7 whether the location of an eight state aquifer is the best
8 place to put these plutonium pits over an aquifer?

9 DR. NORTH: Would anyone care to respond to this?

10 MR. BARRETT: Yeah. I'll comment on that. The
11 plutonium that you're referring to has not be declared under
12 the acts as a high-level waste under the jurisdiction of this
13 Board. That is under the jurisdiction of the Defense Nuclear
14 Safety Board which is another board that actually is--I'm not
15 sure who came first. I think you came first and they were
16 patented after you. But that is the Board that assures the
17 safety aspects of that.

18 There is I expect with the changed world in the
19 last couple of years, the end of the Cold War and the
20 national focus on nuclear proliferation and what is the world
21 going to do with surplus fissile materials that you can make
22 weapons out of is getting greater and greater emphasis and
23 attention certainly by Secretary O'Leary personally. I
24 expect that there will be some debates on this and it is
25 possible that there may be greater connection at some point

1 down the road. But at this time, this Board has its--I
2 believe has a--with the material that we've been talking
3 about.

4 MS. SANDERS: I would just like to say some of the
5 issues that have been raised are relevant in connection with
6 public trust, the involvement of a democratic process, site-
7 specific issues that are at stake, and, you know, on and on.

8 I would like to put in a bid for one last point, and that is
9 that there be serious consideration to the suggestion of new
10 standards to classify radioactive materials that are more
11 truthful, that are more scientifically defensible and that
12 are easier to communicate honestly with the public.

13 DR. NORTH: Some years ago I was associated with a group
14 within the National Academy of Sciences that developed a
15 report entitled Improving Risk Communication. I still find
16 myself going back to it for some discussion from many points
17 of view about the difficulties and advisable ways to proceed
18 in the process of building public trust. Certainly one
19 important idea there is having clear language with which to
20 communicate with the public. I'd also like to characterize,
21 while the point was brought up, that the jurisdiction of this
22 board is defined in terms of spent nuclear fuel and high-
23 level nuclear waste from the defense program. Whether or not
24 that includes plutonium from dismantled weapons at this point
25 I don't think is something that's been clarified. But our

1 jurisdiction is one of technical oversight of the program and
2 our statutory requirement is to produce at least two reports
3 a year to the Secretary of Energy and to Congress, and to
4 conduct ourselves in such a fashion so that much of our work
5 is in public, as this panel meeting is. So we don't have
6 jurisdiction in the usual sense of we manage, rather our role
7 is defined something like the umpire or the referee. We get
8 to make critical comments. We do not have responsibility for
9 the management directly.

10 Yes, Bob Bernero.

11 MR. BERNERO: I'd just like to add as a matter of
12 information, relative to the disposal of weapons material,
13 plutonium in particular, there is a somewhat public process
14 going on. In July, the Department of Energy published a
15 study on possible alternatives for the utilization, whether
16 by storage or a burning as fuel for such material, or
17 disposal as waste. Ad the Congressional Office of Technology
18 Assessment has just published another study that is now
19 rather widely available on that same subject, and once again
20 discussing whether such plutonium should be held in storage,
21 should be declared as waste and safely disposed of, or
22 whether it should be burned as reactor fuel.

23 DR. NORTH: Okay. Would you introduce yourself please?

24 MS. BRINK: My name is Betty Brink. I live in Forth
25 Worth, at 7600 Anglon Drive. I'm a member of Citizens for

1 Fair Utility Regulation. I'm also a free-lance journalist.

2 I would like to make a statement and ask a question.

3 I find it a little chilling to what I have heard
4 today and I'm not sure that I want to cross you all's bridge.

5 I think it's on-the-job training project. I find it a
6 little disturbing that 40 years into this process you all
7 don't have a clue as to what to do with this stuff safely.
8 You don't know how to store it safely so that my
9 grandchildren and my great grandchildren will not be exposed
10 to it or will not be dealing with it.

11 I also would like to ask--and I don't know who to
12 direct this question to--but I would like to know, are there
13 any health physicists on this board? Are there any health
14 physicists on this Board?

15 DR. NORTH: I'll respond to that question. The Board
16 has been without a health physicist for several years, since
17 our health physicist resigned. It is up to the White House
18 to appoint a successor. We are still awaiting that
19 successor.

20 MS. BRINK: I don't see how then we can make any real
21 decisions about what we're going to do until we know the
22 health risk that we're exposing ourselves to or our children
23 to; whether it be transportation, whether it be temporary
24 storage, interim storage, on-site storage, or long-term
25 storage. I know that there have been studies in recent years

1 that are disturbing to me and even disturbing to the NRC,
2 according to their brief history of the NRC. The
3 Massachusetts Department of Health has found a 400% increase
4 in leukemia downwind from the reactor. I understand that on
5 Prairie Island on the reservation there is a dramatic
6 increase in cancer. I don't know the figures. But I cannot
7 believe that we're going forward with this kind of project
8 without a health physicist on your board and without very
9 detailed health studies of the population around the areas
10 where you're going to move the stuff and along the
11 transportation routes.

12 DR. NORTH: Thank you for your comments and your
13 question to us. We do have a health physicist within the
14 board staff and perhaps Dan Fehringer would like to expand on
15 the comments that I'm going to make.

16 I was trained originally as a physicist and I've
17 spent much of the last decade and a half working on health
18 related problems with respect to toxic chemicals, and in
19 particular, ten years on the EPA Science Advisory Board
20 dealing with a range of issues on carcinogens and the
21 environment. So I think I am somewhat of a surrogate for a
22 health physicist, though I won't claim the credentials.

23 Now, Dr. Melvin Carter, who is our board member for
24 health physics in the early years of the Board, within the
25 last few months before he left us, circulated a number of

1 articles from the literature on the point that the commenter
2 has raised concerning the potential relationships between
3 leukemia and other forms of cancer and nuclear facilities.
4 The best of my understanding of this literature--I read those
5 articles carefully at the time they were circulated among the
6 Board--is that there is essentially no scientific support at
7 this time that nuclear facilities of any kind have induced an
8 epidemic of cancer that we can observe in the human
9 population. Now, there may be some important exceptions to
10 this having to do with the radiation releases at facilities
11 such as Hanford in the United States and of course the
12 Chernobyl accident in the Soviet Union, and perhaps other
13 utilities in the Soviet Union as well that have not been
14 studied yet so intensively. But with respect to a well
15 managed nuclear power plant or other nuclear facilities, I
16 think there is still need for further investigations but not
17 a presumption that there in fact has been a causal
18 relationship above and beyond what might be predicted from,
19 shall we say, noncompliance with the laws that we have in the
20 U.S.

21 MS. BRINK: Can I have a follow-up?

22 DR. NORTH: Yes, you may.

23 MS. BRINK: Are you familiar with the Sellafield in
24 England and the studies surrounding that plant as far as
25 leukemia and children, and are you familiar with the

1 Massachusetts Department of Health study of the downwind
2 affects of the--

3 DR. NORTH: The Board visited Sellafield last summer and
4 we asked many of those questions. There certainly are
5 perceptions there. I had a dialogue with a political leader
6 from Ireland, across the Irish Sea, who noted to me that
7 there were many people in Ireland who believe that Sellafield
8 was responsible for health affects there. I would say that
9 is not credible to me from what I understand about physics
10 and transport of radionuclides. The details of whether in
11 the early years of Sellafield there were radioisotopes
12 concentrating in some of the shell fish in the local food
13 supply, that's one where I'd think I'd want to study the
14 literature more before responding. But in response to the
15 questions posed by our board with regard to Sellafield's
16 current operation, we've got a lot of assurance that they had
17 indeed done careful studies.

18 Now, with respect to the studies done in
19 Massachusetts that you referred to, no, I'm not familiar with
20 those.

21 MR. KAPITZ: May I address the issue of the first--

22 DR. NORTH: Yes.

23 MR. KAPITZ: The Prairie Island community formally
24 intervened in the environmental impact statement and the
25 public utilities process in Minnesota, were represented by

1 one of the finest law firms in the country, and no time did
2 they ever present any evidence that there was any increase in
3 cancer due to that power plan being next to them.

4 DR. NORTH: Yes, go ahead. Introduce yourself please.

5 MR. EGBERT: My name's Lawrence Egbert and I'm a
6 physician in Dallas. I'm with the Physicians for Social
7 Responsibility which is a part of the International
8 Physicians for the Prevention of Nuclear War.

9 We have as a national organization evaluated about
10 165 articles which have one way or another supported the--
11 supported by the Department of Energy looking at health
12 issues in amongst employees or amongst the neighbors of
13 nuclear weapons--for the Department of Energy. We--basically
14 in reviewing we had an expert panel looking at research
15 methodology and the conclusion is that the Department of
16 Energy sponsored research projects have been too short. They
17 have--in other words, they're not picking up cancers because
18 they stopped their research when the cancer wouldn't be
19 expected to appear.

20 And secondly, they are using a population control
21 which is not legitimate because they hire people who are
22 healthier than the average person. It's called the healthy
23 worker effect. So if you have a healthy bunch of people and
24 compare it with the general population, you get an appearance
25 of health which might be--furthermore, the Department of

1 Energy has systematically not used the same methodology for
2 calculating exposure so that they will have one place--would
3 be using one method, another place would be using another
4 method so you cannot generalize. In other words, use larger
5 numbers than your denomination.

6 In conclusion, there's a whole book on this subject
7 which is called "Dead Reckoning". It was by Jack Geiger and
8 David Rush. They conclude that basically in a--I will use my
9 language. They don't use the exact words. That if the
10 Department of Energy has done their research, it is probably
11 going to show negative results. It's designed to show
12 negative results. That's the purpose of a research and the
13 publicity, to show negative results that it's healthy to work
14 around the place--these places. And the reason for that is
15 obvious, and that is the purpose of the Department of Energy,
16 and this purpose of the Department of Energy, was to make
17 weapons. And to make weapons, you do not want people
18 constantly nervous about the process, so they tend to play
19 down and cover up the hazards.

20 DR. NORTH: Anyone wish to respond to that?

21 MR. BARRETT: I'd say a comment. That in the last few
22 years due to this criticism that the speaker had mentioned,
23 that Department of Energy has financed to various states
24 where the states do their own epidemiological work, I know
25 the State of Colorado did around Rocky Flats, the--

1 reconstruction in the State of Washington is doing to get rid
2 of the bias that the Department of Energy has slanted or
3 exercised improper control over the contractor, so we gave it
4 to the states to do that. As far as I know, the work that
5 has been done has not detected that there's been a big issue
6 here. But then again, that's a comment.

7 MR. SMITH: I'd like to comment--

8 DR. NORTH: Surely.

9 MR. SMITH: I'm one of the states that has picked up on
10 the opportunity to do so independent health analysis of the
11 releases from the Oak Ridge reservation. We spent about a
12 year and a half doing a feasibility study to see if that was
13 sufficient to go into a further phase, a more expensive phase
14 to really get down to the determining the health effects that
15 might have occurred on populations surrounding the plan.
16 About two weeks ago we made a major programmatic decision
17 that there was sufficient information that we had gathered
18 through searching classified and unclassified sources to
19 warrant going into a second phase of health studies
20 surrounding the Oak Ridge reservation. So we think there's
21 an awful lot that needs to be examined in this area and that
22 the surface has hardly been scratched by studies that were
23 done in the past by DOE.

24 MR. EGBERT: I might add--can I piggyback a statement on
25 that? You also--Oak Ridge does have a research project that

1 came out after this book I was reporting which was published
2 in the Journal of the American Medical Association, I think
3 in June, which did show an effect and which was basically
4 showing that there should be more research, and they're
5 getting some positive results. They have used better
6 controls and they also have made a longer period of time for
7 their study. Thank you.

8 MR. NILES: Thank you. My name is Ken Niles. I'm with
9 the State of Oregon, Department of Energy, and I didn't plan
10 on speaking but had a few comments I wanted to make after
11 hearing some of the discussions.

12 First, I'd like to encourage Mr. Mussler and Mr.
13 Barrett that in this new process, that whatever comes out of
14 the new work with Mr. Stallings in the voluntary process,
15 first off, that it allows for a sooner involvement by
16 affected entities and also that funding be provided. The
17 State of Oregon requested very nominal funding several months
18 ago for its oversight of activities by the Fort McDermitt
19 Tribe on the Oregon border, and the reason we were given for
20 denial of that funding was that the process was not set up to
21 allow that. So I would like to see if we would request that
22 however the new process shakes out, that there is a way in
23 which affected entities can become involved sooner in these
24 processes.

25 Secondly, I think Ben Smith's comment earlier, his

1 challenge earlier to talk about the catch-22 issue of MRS,
2 the fact that basically silence greeted that challenge speaks
3 volumes about the need to have a comprehensive examination of
4 the overall plans and systems for dealing with nuclear waste
5 in the country.

6 And third, just briefly, there's been a lot of talk
7 this afternoon about trading rights, and I think it's
8 important to stress that don't assume that you can trade
9 these things like you can baseball cards. Don't
10 underestimate the public opposition or the public's need to
11 be involved on issues that deal with how soon spent fuel may
12 leave a reactor site in their state, because I can guarantee
13 you that if utilities trade these simply and just deal with
14 it as a matter of cash, that that's going to generate a great
15 deal of public opposition when the time comes to deal with
16 those issues.

17 Thank you.

18 DR. NORTH: Thank you.

19 Steve Frishman.

20 MR. FRISHMAN: I can't resist, you know. First of all,
21 I think it's very telling that it took our speaker from
22 Sweden to make a very basic observation about this program,
23 and that's that it's very apparently lacking in both
24 technical and institutional concept. And I've spoken with
25 you on that subject many times before. It's totally elusive

1 and I think Phil was trying to get to a question that he
2 didn't ask directly, so I will ask it directly. And based on
3 some developing information that makes the program maybe even
4 more elusive. But I'd like to have both Lake Barrett and Bob
5 Bernero maybe comment on the--whether technical and
6 institutional concepts would stabilize or maybe become less
7 stabilized were this new idea about interim storage, whatever
8 you might call the technology, be pointed at Yucca Mountain
9 or NTS, the latest idea in the evolving process of
10 institutional and technological concept.

11 Do we destabilize the program or stabilize it,
12 given all that you know about the problems involved in both
13 the technical and institutional aspects of this program?

14 MR. BARRETT: I'm not quite sure--if you're saying that
15 somebody introduces a bill in Congress, something that sticks
16 the pin a hundred miles north of Las Vegas and says that's
17 the place to put the MRS, the whole shebang? Is that what
18 you're referring to?

19 MR. FRISHMAN: The idea is very much out there and
20 you're well aware of it just as I am, that the concept of
21 just naming the Yucca Mountain area or NTS for some form of
22 interim fuel storage is being discussed, it's being linked
23 with the concept of MPC, and I'd just like to know your maybe
24 previews of whether you think this would help the program in
25 terms of its progress or whether it would create some new

1 types of institutional or technical problems.

2 MR. BARRETT: I guess my opinion is that if that were
3 just thrown on the table and said this is what we're going to
4 do without any national discussion and debate about it, it
5 would probably be very destabilizing. I think if there's
6 national debate and discussion like what went on here, and if
7 it's decided that a place is needed, then it becomes a
8 discussion about that in other places, that would probably
9 not be destabilizing. But to try to spring it--somebody said
10 in the middle of the night somewhere--that would probably be
11 destabilizing.

12 DR. NORTH: Bob Bernero?

13 MR. BERNERO: Yeah. I agree with that. I have nothing
14 to add to it.

15 MR. FRISHMAN: Well, I think one of the reasons I wanted
16 you to respond, Bob, is that there is an interesting
17 regulatory problem involved there in terms of a difference in
18 standard for repository siting and interim storage siting.
19 And it would be--maybe it would create some interesting
20 regulatory problems because there is a difference in standard
21 involved.

22 MR. BERNERO: Well, yes, there are differences because
23 they're licensed under different regulations but there is no
24 really substantive difference. This are arcane differences
25 in the exact letter of the regulation. The substantive

1 issues of surface protection, that is given that you have
2 high-level waste on the surface of the earth being handled
3 for some purpose or stored, the degree of protection to the
4 public expected or required by both regulations is the same.

5 The focus of Part 60, the high-level waste regulation, is on
6 disposal, not on the surface facility.

7 MR. FRISHMAN: Okay. Well, just as a final point, I'd
8 suggest that you may consider it in terms of the difference
9 in seismic standard applied to the two facilities. We'll
10 talk more about this.

11 DR. NORTH: Ron Callen, and I think he'll be the last
12 one because at this point we're beginning to run past our
13 time.

14 MR. CALLEN: Thank you. I'm Ron Callen from the
15 Michigan Public Service Commission, and I want to make a
16 comment. Anybody who wants to can speak to it.

17 It seems to me there's an underlying presumption
18 that I've been hearing today, and I'm not sure that we all
19 understand that it's being made. It has the presumption of
20 continuing financial support for all of the work that's going
21 on. Let me point it out in three ways.

22 First of all, as you all know, reactors were
23 designed a long time ago and the pools were designed to take
24 care of essentially fuel going to reprocess. That's clearly
25 not the case. The pools are integrally designed into the

1 systems themselves. What it means is, as I think it was Bob
2 Rasmussen who was saying that in some cases we may see
3 another 18 years of pool storage, what that is going to do is
4 it's going to take the decommissioning of an individual
5 reactor off optimal schedule, and that's going to add cost on
6 to the decommission. Not to the disposal of the spent fuel.

7 But because the reactor can't be decommissioned in an
8 optimal way. And if you've seen the numbers recently for
9 decommissioning costs, they've been rising. So the rate
10 payer's going to pay three times. He's going to pay first
11 for the mil per kilowatt hour supposedly. Second, for the
12 storage expansion in the pool, and then thirdly will be asked
13 to pay for the increased decommissioning costs.

14 The presumption I didn't hear made here is that the
15 rate payer's money is going to be there for that third option
16 at the time that it needs to be. Secondly, the same point.
17 If you'll permit me a very broad generalization. I hear from
18 the DOE presentations generally a lot of discussion about the
19 future program, a lot less discussion about the past program;
20 what went right and what went wrong. That kind of
21 presumption suggests that DOE is presuming that the funds are
22 going to flow for a long period of time, and what we did not
23 get done last year we can make for.

24 Thirdly, as to the 1998 contract date, however
25 that's read, I can assure you that every utility has its

1 public utility commission it has a binding contract with the
2 Department of Energy and that what--in return for those one
3 mil payments the utility is going to get its fuel taken
4 starting in 1998. The presumption I'm getting at is, the one
5 I heard today, was, well, maybe the act doesn't precisely say
6 that and therefore the DOE may be "somewhat off the hook."
7 But I can assure you there are a lot of public utility
8 commissions that will tell you if we're not going towards the
9 position of taking the spent fuel starting in 1998, then the
10 funds don't need to flow.

11 DR. NORTH: Responses?

12 MR. BARRETT: Clearly, one of the things that Secretary
13 O'Leary is driving at is to get the funds that the rate
14 payers are paying into the waste fund to flow through to the
15 system now that we can use them as we have access to Yucca
16 Mountain and for worthy projects like the MPC. So we are
17 working very much to do that. But that is not an easy issue
18 in the days of deficit reduction, but it is fair and it is
19 the right thing to do and we're trying to do exactly that.
20 And I expect that will be a national debate item also in the
21 very near future.

22 DR. NORTH: Dean Tousley?

23 MR. TOUSLEY: Congress passed the Nuclear Waste Policy
24 Act at the very end of 1982. Exactly five years later it
25 passed the Nuclear Waste Policy amendments. Almost exactly

1 five years after that it passed the Energy Policy Act with
2 further changes to the nuclear waste program last year. I
3 don't think anybody thinks that it's going to be five years
4 before Congress acts again. This off-budget proposal is
5 probably coming next year and it's going to happen, and the
6 question is, what else happens with it? What other of the
7 problems that we've discussed here about management and
8 review and everything else gets addressed with that budget
9 proposal when Congress takes up the issue?

10 DR. NORTH: Bob Mussler.

11 MR. MUSSLER: This is unrelated to that. Just want to
12 make two quick points.

13 The first one was that there was a statement
14 earlier that the Congress pulled the rug out from underneath
15 the Indian tribes with the defunding of IIB. I want to
16 correct that characterization. They did not do that. There
17 were a number of provisions they were looking at. They would
18 have done that explicitly. The defunding of IIB did not do
19 that. It still creates an opportunity. What happens in the
20 future we may look back and say the rug got pulled out, but
21 that was not the action that Congress took in that.

22 The second point I want to make is I want to thank
23 the Board for creating this forum. I didn't know it was
24 going to turn into somewhat an MRS or no MRS type of debate,
25 but this is very healthy. From the standpoint of our office,

1 there's not enough forums for the views regarding whether an
2 MRS has a role or doesn't have a role. And, of course as you
3 can imagine, that's a very important issue for our office.
4 So I want to thank the Board for this opportunity to have
5 aired these.

6 To the extent that the Board follows up with this
7 issue and wants to pursue it further, our agency would be
8 very supportive.

9 DR. NORTH: Thank you very much. On behalf of the Board
10 I'd like to thank all of you on the round-table panel and all
11 of the people in our audience who made comments or asked
12 questions.

13 We're limited in our time, but I feel that the sort
14 of discussion that we had this afternoon is exactly the kind
15 of national dialogue that we need to have a great deal more
16 of. There are a lot of important questions outstanding;
17 there are a lot of different points of view. The issues are
18 extremely complicated. I think there is a burden on those of
19 us who have had more technical training and more exposure to
20 some of these issues to share our knowledge with those who
21 have not had that opportunity and who perhaps feel at some
22 disadvantage because of their lack of access to the technical
23 resources.

24 There is also the issue of what do we want, the
25 objectives of the society. We have this nuclear waste there,

1 it's existing garbage and it won't go away. It has to be
2 dealt with. We have to find alternatives and go through a
3 process of choosing them. If we don't, the choice is made by
4 default.

5 So I think there's a clear need to have a lot more
6 discussion and debate on these issues, and yet the timeliness
7 are coming up very rapidly in terms of what a lot of people
8 perceive to be a contract with a 1998 date on it. So the
9 issue of what to do in the interim on the spent nuclear fuel
10 is becoming a very major issue for the nation, and the board
11 is delighted with this opportunity to raise the issue and to
12 have a discussion such as we have had with the group of
13 people here.

14 So, on that note of thanks and appreciation, I'd
15 like to close the meeting for today and invite you all to
16 join us in the morning, tomorrow when we are starting at--I
17 believe it's 8:30.

18 (Whereupon, at 5:15 p.m. the meeting was recessed
19 to reconvene at 8:30 a.m. on November 2nd, 1993.)

20

21

22

23

24

25