

## UNITED STATES

## NUCLEAR WASTE TECHNICAL REVIEW BOARD

1995 FALL BOARD MEETING

STRATEGIC CONCERNS, TOTAL  
SYSTEM PERFORMANCE ASSESSMENT

October 18, 1995

Arlington Renaissance Hotel  
920 N. Stafford Street  
Arlington, Virginia 22203BOARD MEMBERS PRESENTDr. John E. Cantlon, Chairman, NWTRB  
Dr. Clarence Allen  
Mr. John W. Arendt  
Dr. Jared L. Cohon  
Dr. Edward J. Cording  
Dr. Donald Langmuir, Session Chair  
Dr. John J. McKetta  
Dr. Jeffrey J. WongCONSULTANTSDr. Patrick A. Domenico  
Mr. Richard Grundy  
Dr. Richard Parazek  
Dr. Ellis D. Verink

NWTRB PROFESSIONAL STAFF

1 Dr. William D. Barnard, Executive Director  
2 Dr. Carl Di Bella  
3 Dr. Sherwood Chu  
4 Dr. Daniel Fehringer  
5 Mr. Russell K. McFarland  
6 Dr. Daniel Metlay  
7 Dr. Leon Reiter  
8 Dr. Victor Palciauskas

NWTRB STAFF

9 Ms. Paula Alford, Director, External Affairs  
10 Ms. Nancy Derr, Director, Publications  
11 Ms. Karyn Severson, Congressional Liaison  
12 Mr. Frank Randall, Assistant, External Affairs  
13 Ms. Helen Einersen, Executive Assistant  
14 Ms. Linda Hiatt, Management Assistant  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I N D E X

1	<b>Session introduction</b>	
	Donald Langmuir, NWTRB . . . . .	287
2		
	<b>Introduction</b>	
3	Abe Van Luik, DOE. . . . .	289
4	<b>Objectives/approach</b>	
	Robert Andrews, INTERA (M&O) . . . . .	299
5		
	<b>Questions/discussion</b> . . . . .	312
6		
	<b>Ambient and thermally perturbed flow in the unsaturated zone</b>	
7	Srikanta Mishra, INTERA (M&O). . . . .	317
8		
	<b>Questions/discussion</b> . . . . .	335
9		
	<b>Waste package degradation model and results</b>	
10	Joon Lee, INTERA (M&O) . . . . .	344
11		
	<b>Questions/discussion</b> . . . . .	359
12	<b>Engineered barrier system release model and results</b>	
	Jerry McNeish, INTERA (M&O). . . . .	366
13		
	<b>Questions/discussion</b> . . . . .	381
14		
	<b>Geosphere transport and release/dose</b>	
15	David Sevougian, INTERA (M&O). . . . .	392
16		
	<b>Questions/discussion</b> . . . . .	419
17	<b>Volcanism effects and consequences</b>	
	Bruce Crowe, Los Alamos National Laboratory. . . . .	428
18		
	<b>Questions/discussion</b> . . . . .	445
19		
	<b>Summary and recommendations</b>	
20	Robert Andrews, INTERA (M&O) . . . . .	448
21		
	<b>Questions/discussion</b> . . . . .	461
22	<b>Concluding remarks</b>	
	Eric Smistad, DOE. . . . .	472
23		
24		
25		

I N D E X

1	<b>Making use of performance assessment: lessons learned</b>	
	Paul Davis, Sandia National Laboratories . . . . .	477
2		
	<b>Questions/discussion . . . . .</b>	500
3		
	<b>Round-table discussion: the uses of TSPA</b>	
4	Moderator: Donald Langmuir, NWTRB . . . . .	503
	Participants: Abe Van Luik (DOE), Eric Smistad (DOE),	
5	Robert Andrews (INTERA-M&O), Paul Davis (SNL), John Kessler	
	(EPRI), Ben Ross (Disposal Safety), Steve Frishman (state of	
6	Nevada), Norman Eisenberg (NRC), Chris Whipple (IFC Kaiser),	
	and Robert Bernero.	
7		
	<b>Public comment . . . . .</b>	539
8		
	<b>Session summary</b>	
9	Donald Langmuir, NWTRB . . . . .	543
10	<b>Adjourn. . . . .</b>	544
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

## P R O C E E D I N G S

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

[8:30 a.m.]

LANGMUIR: Good morning. I'm Don Langmuir. I'm a member of the Nuclear Waste Technical Review Board and chair of today's session on Total System Performance Assessment, conveniently known to us all as TSPA.

TSPA is an analytical method for assessing the ability of the proposed repository to contain and isolate radioactive waste. It can serve several functions.

It will be an important measure by which the suitability of the Yucca Mountain site will be judged. And if the site is found suitable, TSPA will be the primary means by which the NRC will judge whether the proposed repository can be built and operated safely.

At the present, where site suitability and regulatory compliance are not yet being evaluated, TSPA can and should play a significant role in guiding site characterization, assessing priorities, evaluating different engineering designs, and estimating the impact of contemplated changes in standards and regulations.

At the January 1994 Board meeting we heard about three DOE supported studies aimed at assessing repository performance. Today we will hear about TSPA-95, the latest effort by the DOE and its contractors in this area.

In a series of talks that will extend through the

1 early afternoon presentations will be made addressing the  
2 objectives of TSPA-95 and its basic assumptions in the  
3 different earth sciences and engineering, its results,  
4 conclusion and related sensitivity studies.

5 A special effort was made to evaluate the impact  
6 of different factors affecting waste package performance and  
7 engineered barriers.

8 Similarly, sensitivity studies were carried out to  
9 present the results using the different performance measures  
10 now being considered.

11 We will also hear an update on TSPA efforts in  
12 assessing the effects of and consequences of volcanism.

13 Finally, the DOE will provide us with some of the  
14 insights developed and what they can mean for the Yucca  
15 Mountain program.

16 We have also asked Paul Davis of Sandia National  
17 Laboratories to provide us with some lessons learned in  
18 attempts to make use of performance assessment. In addition  
19 to being a former adviser of the ACNW on TSPA at Yucca  
20 Mountain, Paul has had much experience in the WIPP and GCD  
21 projects for disposing of transuranic waste in New Mexico  
22 and at the Nevada test site.

23 Following the technical presentations, we will  
24 host a round-table discussion on the uses of TSPA. More  
25 about that later.

1           Finally, there will be a period for public  
2 comment.

3           Having said all of this, the first speaker is Abe  
4 Van Luik of the DOE, who will introduce the session this  
5 morning.

6           Abe, the floor is yours.

7           [Slide.]

8           VAN LUIK: The reason I put up the title slide, which I  
9 usually don't do, is I wanted to explain to you I've stood  
10 before this Board three or four different times in the last  
11 five years, or since you were created, each time with a  
12 different badge from a different organization. If this is a  
13 character defect, I apologize.

14          [Laughter.]

15          VAN LUIK: I have been fiercely loyal to this program,  
16 and any time an employer moved me aside from the mainstream,  
17 from the heart of performance assessment, I just shifted so  
18 I could stay with it.

19          I came into this program in about 1982 as part of  
20 the crystalline work that was being done at that time,  
21 because I'm an environmentalist and I see this as very  
22 useful, environmentally correct, and an opportunity really  
23 to work in something that really solves a large public  
24 problem, environmental as well as policy. So I am very  
25 loyal to this program. I'm now with DOE, and it's going to

1 take an Act of Congress to kick me out. But yesterday I  
2 heard that that is a very good possibility.

3 [Laughter.]

4 [Slide.]

5 VAN LUIK: Last night at dinner, excellent food,  
6 excellent people, and good wine, someone made the statement,  
7 and I think it was very sincere and probably correct, that  
8 TSPA-95 is the best that has been done. I really like the  
9 TSPA-95 product. I'm impressed with it. But one of the  
10 reasons I wanted to give this particular introduction is to  
11 show that, yes, we have come a long way, but there were some  
12 very good analyses done very early in this program from  
13 which we have learned we are not working in a vacuum.

14 [Slide.]

15 VAN LUIK: When I first came into this program my first  
16 assignment -- well, actually, my second assignment after the  
17 crystalline work, was for headquarters, and I was assigned  
18 to follow around the EPA Science Advisory Board. I will  
19 never forget one meeting where a certain Dr. Pigford,  
20 representing the NAS, had a surprise pulled on him. He was  
21 presenting results of his work, and someone from what at  
22 that time was the Nevada nuclear waste storage investigation  
23 stood up and said, Professor Pigford, we have decided that  
24 we are going to put this repository in the unsaturated zone.

25 Professor Pigford stopped for a minute and said,



1 how long does it take your water to get from where you want  
2 to put the repository to the saturated zone? He was  
3 modeling a saturated zone repository.

4 They said, oh, we think about 30,000 years.

5 Without skipping a beat, he goes right on with his  
6 presentation and says, relabel the bottom here by three  
7 orders of magnitude and the results are still correct.

8 [Laughter.]

9 VAN LUIK: One of the things that we learned from the  
10 WISP report, the 1983 performance assessment, is that in a  
11 closed basin he just observed that limited groundwater flow  
12 could lead to substantial doses. Basically you don't have  
13 the Columbia River carrying stuff to the ocean. It is  
14 something that we knew right off in 1982 when he did the  
15 draft, in 1983 when he published the report.

16 Siegel and Chu also suffered under the limitation  
17 of not knowing that we had changed to an unsaturated  
18 repository. We have to give them credit. They were working  
19 for the NRC in 1983 looking at can you do a calculation that  
20 shows compliance with this new type of standard, and they  
21 were the first ones to throw in thermal effects. They  
22 looked at the buoyancy of putting a repository in the  
23 saturated zone under Yucca Mountain, and the buoyancy drove  
24 flow up into the unsaturated zone and moved it out, and they  
25 said, hey, that accelerates things.

1           So we take credit sometimes, because we lose track  
2 of history, for being the first ones to throw in thermal  
3 effects. Not so.

4           But they made an interesting observation. They  
5 said for some conditions, and the viewgraph says oxidizing  
6 conditions and low aquifer flow velocities, it was only for  
7 some cases in their probabilistic analysis that U and Np  
8 violated draft standards, because they assumed a higher  
9 solubility in oxidizing conditions. So we knew that back  
10 then.

11           For the environmental assessment, Thompson, et al  
12 at PNL, good friends of mine, did a nice calculation.  
13 Unfortunately, the regulation changed while they were doing  
14 their work. So they showed possible compliance with the  
15 standard. They also did some 250,000 year calculations of  
16 dose.

17           [Slide.]

18           VAN LUIK: Right in the middle of their work the EPA  
19 changed the standard somewhat, and Sinnock et al came into  
20 the picture and redid the analysis for the new version of  
21 the standards and showed basically that the sites could  
22 probably comply, and that is what is in the environmental  
23 assessment if you go back and read that. A nice piece of  
24 work.

25           Sinnock was very inspiring, because he said let's

1 take really what our best estimate optimistic case is.  
2 Usually we do worst estimate pessimistic cases, and in his  
3 best estimate optimistic case nothing really came out for  
4 almost a million years. It was an interesting analysis.

5 The problem with a lot of these analyses, of  
6 course, is that now we are a little bit more sophisticated  
7 about the conceptual model of flow in the mountain. At that  
8 time flow was extremely slow and now we are looking at other  
9 alternatives, and you will hear a little more about that  
10 later.

11 EPA in 1985 actually did a very nice analysis for  
12 Yucca Mountain, including faulting, drilling, and volcanic  
13 events, and showed that those might not be the big, scary  
14 things that we thought they were.

15 McGuire for EPRI. I really appreciate the EPRI  
16 efforts, because they consistently do what we would call  
17 best estimate or optimistic calculations where we sometimes  
18 dig ourselves into a pit of despair because we do these  
19 pessimistic calculations and on bad nights Leon wakes up at  
20 three in the morning worrying about these things.

21 [Laughter.]

22 VAN LUIK: But on bad nights we wake up, saying, gee,  
23 is this real?

24 We appreciate the EPRI work, because it shows us  
25 that it may not be.

[Slide.]

1           VAN LUIK: I also personally appreciate the fact that  
2 the NRC is doing competent performance assessments. I hope  
3 Margaret is not here.

4           [Laughter.]

5           VAN LUIK: I must say that the regulator has become  
6 much more sympathetic of our plights since they started  
7 doing their own calculations. I find that there is an  
8 appreciation for the difficulty of doing a performance  
9 assessment from these people, where before they didn't sound  
10 like they were going to give us a break at all in anything.

11           PNL. I personally managed this one, so I feel  
12 some ownership of it. We did something requested by  
13 headquarters in 1988 and actually published it in 1992. In  
14 response to a congressional inquiry, headquarters wanted to  
15 have a risk evaluation. They said the heck with the  
16 standard; we want to know what the risks are. We don't  
17 understand this EPA standard. Does that sound familiar?

18           We calculated doses for carbon-14 and said, hey,  
19 it's a no nevermind.

20           We did a population dose calculation. If you ever  
21 want an obscure measure of performance, go to a population  
22 dose. You get a big number and it's totally meaningless  
23 unless you know how many people are involved and over what  
24 time period. Here we have ten to the third person-sieverts,  
25

1 but it's over ten to the sixth years for a population that  
2 is fixed at, I think it was, 160-some people right in  
3 Amargosa Valley. We did this because that's what we thought  
4 was the right measure, but in retrospect, that's a very  
5 difficult concept to explain to people.

6 We added in climate change, volcanism. The final  
7 tally was 0.3 to 131 health effects, which turned out to be  
8 about 0.1 to 1 percent of background. Which sounds about  
9 right to me, except we kind of made a boo-boo there and  
10 didn't up the neptunium solubility to reflect oxidizing  
11 conditions.

12 Every one of these is an excellent analysis, but  
13 when you look at it in detail you find a little Achilles  
14 heel, and all of these things have brought us to the point  
15 where we have a more comprehensive, more realistic, more  
16 complete understanding of things. Each one of these has  
17 made a contribution.

18 [Slide.]

19 VAN LUIK: TSPA-91 is the first one in the series of  
20 now three TSPAs done by DOE on behalf of DOE.

21 These are my personal impressions. If you talk to  
22 other people, they may not feel this way. I think the most  
23 important thing that came out of TSPA-91 is that the human  
24 intrusion and the basaltic event were shown not to be as  
25 scary a thing as we had thought before we did the analyses.

1           In fact, we went into TSPA-93 looking at these  
2 secondary effects from volcanism because it was suggested to  
3 us that, yes, you looked at the primary effects, but the  
4 real bad, scary thing is the secondary effects. Of course,  
5 secondary, almost by definition, turned out to be less scary  
6 than primary.

7           These were good analyses.

8           EPA did one in 1993 that most people don't even  
9 know about. For the re-promulgation of 40CFR191 they used  
10 Yucca Mountain as one of their four cases, I believe, and  
11 they put in a transuranic source term and showed very low  
12 doses for 10,000 years for TRU waste at Yucca Mountain. So  
13 if WIPP doesn't work, maybe we can sell them a mountain.

14           [Laughter.]

15           [Slide.]

16           VAN LUIK: Duguid and company two years ago showed that  
17 over 100,000 years doses were very strongly related to the  
18 solubility of  $^{237}\text{Np}$ . While we were doing TSPA-93, actually,  
19 Duguid did four little TSPAs. Some people are just talented  
20 and you have to keep them down.

21           He also showed by assuming a one meter capillary  
22 barrier that you could significantly reduce doses and  
23 cumulative releases at very long time periods, like in the  
24 hundreds of thousands of years, and that is why all of a  
25 sudden we are very interested in EPRI's work. EPRI is

1 supporting Conca and company in looking at this type of  
2 barrier in their feasibility, et cetera.

3 EPRI is independent of us. We don't work for  
4 them; they don't work for us; but we are very interested  
5 when someone leaps ahead and looks at something that we are  
6 going to be potentially interested in.

7 EPRI, also, as you heard John Kessler, is doing  
8 some very good work on biosphere, looking at how to model  
9 the biosphere. We are not going to slavishly copy them, but  
10 we are definitely going to look into what they are doing.

11 [Slide.]

12 VAN LUIK: Finally, TSPA-93. I've already mentioned  
13 that it kind of put the nail in the coffin for basaltic  
14 volcanism as an important player. It calculated peak doses  
15 out to a million years, and the doses were very high. This  
16 was very disconcerting to the project.

17 [Slide.]

18 VAN LUIK: I must throw in something here. These PA  
19 people are very independent and they are very honest. You  
20 can't tell them here is your target for your calculation,  
21 make it come out that way. TSPA-93 was a very good  
22 calculation both on SNL and the M&O side, but it did not  
23 come out in a very pleasant way for the DOE.

24 One thing that that has caused is a very fervent  
25 dialogue between the engineered side of our project the PA

1 side, and many of the improvements in performance that you  
2 see in TSPA-95, which when I shut up and sit down you will  
3 start hearing about, are because of that dialogue and  
4 because of the improved understanding that was transferred  
5 from that side to the PA side.

6 I think basically what I wanted to do I've already  
7 accomplished. I wanted to show that TSPA is in a long line  
8 of distinguished products.

9 Another thing I wanted to say is that when you  
10 look at the recommendations at the end of the TSPA-95  
11 report, which was done independent of the waste isolation  
12 strategy, by jiminy, most of the recommendations are exactly  
13 the same as in the waste isolation strategy, which I think  
14 is serendipitous, but it's only right. If we did the right  
15 thing, we should come out with the right answer.

16 In your package you have a little backup where I  
17 give a little bit more detail about each of these studies,  
18 but I think it is important for us to never lose track of  
19 the past, because then you tend to repeat it, and we can't  
20 afford that.

21 Thank you very much.

22 LANGMUIR: Thank you, Abe.

23 The first presentation now is Bob Andrews of  
24 INTERA, who is going to speak to us about objectives and  
25 approach. I gather that we are going to learn why there is



no Achilles heel in TSPA-95.

1           ANDREWS: Good morning. Yesterday we heard a lot about  
2 the NAS recommendations and then followed that with Steve  
3 and Jean talking about the waste isolation and containment  
4 strategy. Both of these very important products used, I  
5 think as Abe alluded to, some insights, if you will, from  
6 total system performance assessments done by a number of  
7 organizations, including the M&O, Sandia for Yucca Mountain,  
8 EPA and NRC also and EPRI for Yucca Mountain, and a lot of  
9 international experience that had a real role in the  
10 development of both of those products.

11           What we are going to be talking about today is  
12 TSPA-1995, which was done concurrently with the development  
13 of the waste isolation strategy, but you might say it is  
14 essentially the implementation of both of those two  
15 activities, the implementation of the recommendations of  
16 NAS, if you will, and an implementation of the actual  
17 strategy.

18           I am going to go through very quickly an  
19 introduction of the approach, objectives, philosophy, if you  
20 will, that was taken over the last six months in the  
21 creation of TSPA-1995. The following presentations, of  
22 which there are about six, I guess, will get into the  
23 details of the assumptions, the results, the implications of  
24 those results.  
25

1           The total system at Yucca Mountain clearly is a  
2 complex system. Both the engineered portions of the system  
3 and the natural portions of the system are complex, and  
4 trying to capture that complexity in a reasonable way is a  
5 the goal and objective of performance assessment in general  
6 and total system performance assessment that you are going  
7 to hear about in particular.

8           We are going to walk a little fine line in the  
9 next few hours between trying to present some of that  
10 complexity to some level of detail but not get mired in the  
11 details too much. So we will keep at some general level.  
12 When you have the detailed questions, we can get into them,  
13 but we will keep it somewhere between the very detailed and  
14 the most abstract.

15           [Slide.]

16           ANDREWS: These are the main topic items I want to hit  
17 on in this introduction.

18           The philosophy of almost any total system  
19 performance assessment is to focus on those components that  
20 are most important. We don't spent a lot of time worrying  
21 about those components that are less important.

22           Clearly when you get into a licensing sort of  
23 arena, some of these less important aspects or things that  
24 we believe or perceive from sensitivity studies are less  
25 important will be discussed and addressed.

1           When we are looking at trying to prioritize  
2 information needs and prioritize design and characterization  
3 activities, we generally focus on those things that are most  
4 significant to performance. But we try to be complete. So  
5 all relevant processes are included, and there are a lot of  
6 processes that you are going to be hearing about for the  
7 next few hours.

8           [Slide.]

9           ANDREWS: I put these things in quotes because  
10 sometimes these words get into legislation and they get into  
11 things that we really have to follow, things like reasonably  
12 assured of how the performance is. So we try to be  
13 reasonably representative, but in a number of cases, and you  
14 will hear about a number of those cases, we don't have  
15 things that are representative; we don't have tests of what  
16 water looks like on a waste form 100,000 years from now. So  
17 you try to be bounding in those cases, or conservative. So  
18 you are going to over predict, if you will, releases or  
19 doses when you make these bounding, conservative  
20 assumptions.

21           One of the important goals of all performance  
22 assessment is to acknowledge that things are uncertain and  
23 things are variable and incorporate that uncertainty  
24 explicitly, whether that uncertainty be conceptual  
25 uncertainty or whether that uncertainty be parametric

1 uncertainty, both of which you will hear about today. They  
2 are incorporated in the analyses.

3 The impact of that uncertainty, whether it be  
4 conceptual uncertainty where we do some sensitivity studies  
5 or whether that be parametric uncertainty where we are doing  
6 sort of a probabilistic consequence assessment or  
7 probabilistic risk assessment, if you will, is directly  
8 incorporated.

9 [Slide.]

10 ANDREWS: So you will see the effects of those  
11 uncertainties explicitly and try to answer, if you will,  
12 Dr. Cohon's question as he left it to everybody last night:  
13 Well, what makes a difference?

14 We will try to address that "what makes a  
15 difference" issue from a conceptual point of view and a  
16 parametric point of view. If you define what makes a  
17 difference, that provides some input to both the  
18 characterization and design efforts.

19 As Abe pointed out, you start from somewhere. You  
20 don't start from scratch; you start from the fact that a lot  
21 of work has gone on funded by the project on previous TSPAs  
22 and previous process level understanding.

23 So you start with, well, what did you recommend at  
24 least at the end of the last TSPA and let's see if we can't  
25 address some of those things that were recommended.

1           These things have been presented to the Board  
2 following TSPA-1993, but one of the things was that we have  
3 in-drift emplacement and we probably should try to capture  
4 the processes going on inside the drift, at least to the  
5 extent possible. In particular the thermo-hydrologic  
6 processes going on, and capture those realistically, capture  
7 as representative as we can, anyway, what happens given that  
8 near-field environment in the drift as it impacts the waste  
9 package degradation. In particular using humid air  
10 corrosion kind of processes rather than aqueous corrosion  
11 processes. You will hear about that.

12           The Board has been presented a number of times  
13 alternative conceptual models and data that support  
14 alternative conceptual models of flow and to a lesser extent  
15 transport, because I think the primary focus has been on  
16 flow so far, in the unsaturated zone. So alternative models  
17 there are needed.

18           By the way, in addition to being recommendations  
19 coming out of TSPA-93, these were observations -- maybe  
20 "observations" isn't quite the legal word -- made by NRC.  
21 When we had some technical interchanges with them they also  
22 "noted" these same three items.

23           Then we also pointed out in TSPA-93 that the  
24 significance depends on the time frame that you are  
25 interested in. I think Jean had a nice little graphic

yesterday of what is important over different time periods.

1 She didn't actually put times on that access, but  
2 performance assessment did put times on that access in  
3 TSPA-93 in terms of when is package degradation important,  
4 when is the unsaturated zone hydrology important, and when  
5 are some near-field effects important.

6 [Slide.]

7 ANDREWS: A little bubble diagram or road map, if you  
8 will. All of these things will be hit on today. The ones,  
9 twos, threes, fours and fives plus-minus represent the five  
10 items of the waste isolation and containment strategy almost  
11 in that order.

12 Low aqueous flux, low humidities in the near-field  
13 environment, giving a good environment for the packages to  
14 sit in.

15 The package degradation, of course, having to  
16 occur before nuclides are mobilized, the mobilization being  
17 a function of the alteration dissolution rate and  
18 solubilities.

19 The release. We are going to talk a lot about EBS  
20 release this morning.

21 Leading to the source term, if you will, to the  
22 geosphere, and unsaturated and saturated zones.

23 Transport. These, of course, include dispersive  
24 dilution mixing kind of effects in the saturated zone.  
25

1           Finally, we now have the biosphere, which gives us  
2 ultimately a dose.

3           Also shown on here, and we are only going to talk  
4 about one external event, and that external event later on  
5 this afternoon is going to be volcanism and its impacts.

6           [Slide.]

7           ANDREWS: Given our recommendations in TSPA-93, it is  
8 not too surprising these bullets that are on what are the  
9 objectives of TSPA-95 is to put more representativeness in  
10 the EBS waste package degradation areas and to acknowledge  
11 that alternative conceptual models of flow and transport  
12 exist but test their significance.

13          [Slide.]

14          ANDREWS: Of course it's not like we are in a vacuum in  
15 performance assessment. There is a lot of work going on  
16 within the design program, a lot of work going on within the  
17 site program. All of that information, revised information,  
18 if you will, impacts the TSPA-1995. You try to use the most  
19 current information or understanding that exists, starting  
20 with thermal load.

21                So there are two thermal loads, a low and a high.

22                The high is the preferred thermal load, but for the  
23 sensitivity studies we wanted to look at the impacts of low  
24 versus high.

25                Backfill is an alternative that DOE is

1 investigating. There is a systems study going on in FY-96  
2 to address backfill issues, design-related implications as  
3 well as performance-related implications of backfill or no  
4 backfill.

5 We looked at it in four different ways. You are  
6 going to hear more about this later. The first case is no  
7 backfill; the second case is backfill is there but only as a  
8 thermo-hydrologic impact, if you will, so it's impacting  
9 humidities and temperatures but not in there to impact any  
10 aqueous flux in the drift.

11 The third case is somehow an intermediate case,  
12 saying the backfill is there and it plus the package itself  
13 limits the fact that you have no dripping through the  
14 package even though you might have dripping on the package.

15 You have advection through the drift but no advection  
16 through the package.

17 The last case is the capillary barrier where there  
18 is no advection through either. This will be talked about  
19 more with some schematic pictures to depict these things.

20 The effects of humid air corrosion and the effects  
21 of cathodic protection on the package degradation and the  
22 package failure distribution, also revised since TSPA-93.

23 [Slide.]

24 ANDREWS: Revised site information. The Board has been  
25 presented a number of maps from Allen Flint and company



1 looking at spatial distributions or possible spatial  
2 distributions of infiltration over the mountain. How that  
3 infiltration is distributed at depth is quite uncertain, and  
4 there are various alternative models, if you will, out there  
5 for how that is distributed. We will look at two of those.  
6 Maybe there are more. We looked at two, a low range and a  
7 high range.

8 The possibility of there being fracture initiated  
9 flow and hence transport. So alternative conceptual models,  
10 if you will, of transport in the unsaturated zone have  
11 become recognized more, especially with the potential  
12 observations of potential young ages at depth and their  
13 potential implications. So we wanted to test the  
14 sensitivity of the results to alternative models of how  
15 transport occurs in the unsaturated zone.

16 [Slide.]

17 ANDREWS: Of course there has been a lot of work at  
18 LANL over this time period looking at radionuclide  
19 solubilities and retardation factors. Those new numbers, if  
20 you will, or new distributions coming from their laboratory  
21 program have been incorporated into TSPA-1995.

22 [Slide.]

23 ANDREWS: In addition to focusing on what we did do,  
24 it's pretty important to tell you what we didn't do so you  
25 don't have any false expectations. There are probably a lot

1 more things I should put up here, but I'll just give the big  
2 ticket items, if you will.

3 First, we'll say that the primary container  
4 degradation mode assumed is going to be pitting corrosion by  
5 humid air or aqueous processes. Other degradation  
6 mechanisms which could be postulated, and there are a number  
7 of them, including microbial induced corrosion, et cetera,  
8 are not addressed in TSPA-1995.

9 The impacts of the near-field thermo-hydrologic  
10 environment on thermal chemistry and on thermal mechanics  
11 and the potential back circling of those onto  
12 thermo-hydrology and onto the in-drift conditions were not  
13 considered in TSPA-1995.

14 Carbon-14 in the geosphere has moved in aqueous  
15 phase now instead of gaseous phase. We are trying to  
16 maximize the aqueous dose, if you will, maximize the aqueous  
17 release, thinking that this has sort of prejudged what NAS  
18 was going to recommend with respect to the standard to EPA,  
19 but we thought that carbon-14 released in the gaseous phase,  
20 they were probably going to conclude, was not a big issue  
21 and that one should focus on aqueous releases and doses.  
22 The NAS report came out August 1. Our draft report came out  
23 at the end of August. I think they actually recommend  
24 looking at carbon-14 doses even if it comes off in the  
25 gaseous phase. That we did not do.

1 We only looked at saturated zone transport to the  
2 five kilometer old fence, if you will, the accessible  
3 environment as defined in 40CFR191. Is that still the  
4 accessible environment? Who knows. But that's where  
5 everything is going to be presented at, five kilometers.

6 We did not look at alternative biospheres. The  
7 biosphere you are going to look at is the peak maximally  
8 exposed individual at that five kilometer fence who pumps  
9 the water and drinks the water. It's not a probabilistic  
10 biosphere; it is not a probable biosphere even; but it is a  
11 biosphere. You might say it's Appendix D instead of  
12 Appendix C of the NAS recommendations.

13 [Slide.]

14 ANDREWS: What's the approach? Let me go through it  
15 real quick.

16 First, you get the data and the design-related  
17 information.

18 If possible, you develop or use the process level  
19 models. You are going hear this morning about three of  
20 them, the unsaturated zone, fracture flow for drift-scale  
21 thermal hydrology and for humid air corrosion.

22 With these process models, general multiple  
23 realizations.

24 You then abstract from those generally response  
25 surfaces. You will see those response surfaces and their

uncertainty later on.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

[Slide.]

ANDREWS: With those response surfaces and other functional relationships, trying to account for the uncertainty observed in laboratory measurements. Those are all input into a total system performance assessment piece of software that then does all the sampling for you, and a miracle occurs. The results come out.

[Laughter.]

ANDREWS: With these multiple realizations we are going to look at today four measures of performance. Clearly the one most people focused on yesterday was the million-year long-term individual dose. We will look at those results that lead up to that.

Clearly the package has to fail before you get any release from the EBS. You have to have release from the EBS before you have release to the geosphere; you have to have release from the geosphere before you have release to the biosphere and then get dose.

Maybe risk is an ultimate measure of goodness or performance or safety, but we will stop at dose for this presentation.

But I think it is important to point out that you had to get there somehow. So you had to go through a series of steps, and we are going to show you that process.

[Slide.]

1           ANDREWS: Here is your menu for the day. The feed of  
2 information from data, if you will, or process level  
3 understanding or synthesis of information on the left-hand  
4 side to the measures of performance on the right-hand side.

5           Each of the presentations will kind of key back to  
6 this and try to show you where you are on this road map.

7           [Slide.]

8           ANDREWS: The seven courses after this opening soup are  
9 listed here. We are going to start with the process level  
10 models with respect to saturated and unsaturated zone and  
11 flow and the thermal hydrology. There is no explicit  
12 performance measure being addressed there, but it is input  
13 into the total system analyses, and I think it's useful for  
14 you to get an understanding of some of the process level  
15 information that is fed in.

16           Secondly, we are going to look at the package  
17 degradation models and their results, i.e., failure  
18 distributions, and "failure" here is in quotes because the  
19 first pit is not failure; it's a failure distribution of a  
20 number of pits as a function of time.

21           Mobilization and EBS transport will be presented  
22 as well as peak EBS release rate.

23           Unsaturated and saturated zone flow transport.

24           Volcanism effects.  
25

1           Finally, I will conclude with what are the  
2 implications of this work to site and design.

3           If there are any questions on the introduction, I  
4 will answer those now.

5           LANGMUIR: Thank you, Bob.

6           Let me start with a question. This is great and  
7 I'm delighted with the progress. I have to as a critic go  
8 to overhead 9, the things you acknowledge you haven't been  
9 able to include yet, and ask you about them a little bit.

10          Overhead 9, Issues Not Addressed. The ones that  
11 obviously struck me were the second bullet, which I presume  
12 incorporates or includes the refluxion issues, the question  
13 of moisture that could come around and around and around  
14 again in a refluxion mode in the mountain, and this might be  
15 unsaturated zone water moving around repeatedly; it might  
16 also include saturated water from the groundwater below  
17 coming up into the repository and being refluxed as well.

18          My first thought as you were talking about this  
19 this morning was that, well, maybe you could consider this  
20 in TSPA-95 or 95.1 by simply increasing the perception of an  
21 infiltration rate at the top of the mountain as a way of  
22 thinking about what that might do. You have already done  
23 this. You've got two different infiltration rates being  
24 considered.

25          In a sense this might just be an extension of that

1 way of looking at what is happening. Those effects would be  
2 increased another time by the idea that you had refluxion  
3 water being added. But then you have coupled processes  
4 which you are not considering either, which, of course, is  
5 what the heater tests are all about, whether you actually  
6 increase or decrease permeabilities in the mountain because  
7 of coupled processes along with all this water.

8 My big worry is going to remain, I'm sure, having  
9 not thought about these things, putting them in this model.

10 I'm going to be asking you what kind of guesses you may  
11 have as to what they might do to the model and the doses  
12 that come out of the other end of it.

13 ANDREWS: I don't want to take a lot of time here, but  
14 I will try to respond. You have to realize we are trying to  
15 model 10,000 packages, roughly. It's 8,000-and-something,  
16 but for nice round numbers it's 10,000. Those 10,000  
17 packages are spread out over an area.

18 The permeability is clearly spatially variable  
19 already over quite a wide range, as you will see.  
20 Especially matrix permeability, and if you throw fracture  
21 permeability in there, it's probably even greater. That  
22 variability we try to capture in some of our analyses.

23 Do I have a change in conditions due to thermal  
24 chemistry impacting permeability that is greater than my  
25 uncertainty or my variability that exists already? That's

1 very questionable. We kind of have this sense that probably  
2 not. In other words, we are in the range of variability  
3 anyway that nature has dealt us.

4 LANGMUIR: This is extremely important, because if you  
5 can persuade all of us about this, we don't need to have any  
6 thermal tests.

7 ANDREWS: I'm talking about thermal chemical impacts on  
8 permeability.

9 LANGMUIR: Okay. That's one side issue, but it is  
10 clearly very important to us today to get a sense of how you  
11 feel about the need to do the tests that are going to take  
12 us the next ten to 50 years.

13 ANDREWS: We will talk a lot about that.

14 LANGMUIR: I've been hogging the floor here. Further  
15 questions from Board members?

16 Jared.

17 COHON: I found this extremely useful and helpful. As  
18 the person newest to this, I guess I have some basic  
19 questions to help me with some of the terminology. First of  
20 all, a really basic one.

21 Using the words "geosphere" and "biosphere," do I  
22 infer correctly from that that basically the biosphere  
23 includes anything that is alive and the geosphere includes  
24 everything that is not, all the physical aspects of the  
25 environment, including the surface?



1           ANDREWS: That is true. I think we probably use  
2 biosphere a little bit more like it includes the well and a  
3 description of that person's well or group's well and where  
4 they got their water and how much water they got. There is  
5 some demography in there as well as that water with whatever  
6 dissolved nuclides might be in it and how those get to the  
7 individual. So it's not just in the individual. Clearly  
8 that is something we are getting from actual table lookups,  
9 but how that water got to the individual would be the  
10 biosphere.

11           COHON: Could you go to your overhead 12, which I think  
12 is great if I understand it.

13           ANDREWS: You understand it then.

14           [Laughter.]

15           COHON: I don't have to ask any questions then.

16           What do you mean by model abstraction?

17           ANDREWS: That's a good question. These process level  
18 models are very detailed, generally deterministic models in  
19 their very nature. It is not something that we are going to  
20 embed directly into a probabilistic assessment, which all of  
21 these are, because we are trying to address uncertainty in  
22 parameters.

23           When we go from this detail of the process, a 2D  
24 or 3D representation of the site and some process going on  
25 within that site, flow or transport or something like that,

to this performance assessment model, we do something here.

1  
2 Generally we run these models for enough realizations to  
3 generate some response surface fits to try to capture the  
4 impact of the uncertainty in the parameters that occur here  
5 and the variability in those parameters to abstract the  
6 relevant results that we need for performance assessment.

7 For example, drift scale flux, the actual  
8 percolation of water at the scale of a drip, so at the scale  
9 of a waste package, ten square meters or something like  
10 that. That is derived from a fairly simplistic model but  
11 done external to the actual analysis. What we take forward  
12 then is a functional relationship of dripping or percolation  
13 flux to something else. In this case infiltration rate. So  
14 we make this functional relationship based on the results of  
15 the process level model.

16 In the best of all worlds that process level model  
17 is directly tied to some observations. So you have some  
18 confidence that this model somehow represents reality, given  
19 uncertainty and spatial variability, of course, are there.

20 In many cases, although there are process level  
21 models being developed by the site program and by the  
22 engineering program -- some of these things are more  
23 engineering side of the shop -- those models haven't been  
24 full tested or proved, let's say. So there is uncertainty  
25 in the process level model. When we try to account for that

1 we generally are doing sensitivity analyses: well, if it's  
2 process model A or process model B, here's the impact.

3 This abstraction process is taking that process  
4 level model, running some realizations on it to get some  
5 distribution to acknowledge that it's uncertain and you have  
6 spatially variable parameters, and then generating response  
7 surfaces which are then what are actually used in the  
8 assessment.

9 COHON: Do these represent all of the models in a TSPA?

10 ANDREWS: With the exception of volcanic effects  
11 models, I think yes. I might have missed some, but it's  
12 general enough so that maybe there are some sub ones, but I  
13 think it's pretty complete.

14 COHON: Thank you.

15 LANGMUIR: I would like to keep us on schedule. We are  
16 there right now. There will be plenty of time after in the  
17 round table, I think, to address further questions.

18 Our next speaker is Srikanta Mishra, and his topic  
19 is ambient and thermally perturbed flow in the unsaturated  
20 zone.

21 MISHRA: Good morning.

22 [Slide.]

23 MISHRA: The topic of my presentation is a description  
24 of the ambient flow models and the thermally perturbed flow  
25 models and their abstractions for TSPA-1995.

[Slide.]

1 MISHRA: The motivation for this presentation, as Bob  
2 alluded to, is essentially the fact that the total system  
3 simulator that we use in our calculations does not  
4 explicitly include hydrologic and thermo-hydrologic process  
5 models.

6 In particular, when do the calculations of EBS,  
7 the engineered barrier system performance and adjust for  
8 transport calculation one needs from some external source  
9 some information regarding the velocities and fluxes.

10 The second aspect of abstraction that I am  
11 interested in here is with respect to the degradation of the  
12 waste package and also of the release from engineered  
13 barrier system, which requires information regarding the  
14 temperature, the saturation, and the relative humidity in  
15 the vicinity of the waste package, and these also have to be  
16 abstracted from external models.

17 The talk is essentially divided into two  
18 components, the first part dealing with the flow in the  
19 unsaturated zone and in the drifts under ambient conditions,  
20 the second part dealing with the distribution or the flow  
21 and fluids in the drifts, and that's the thermally perturbed  
22 flow regime.

23 [Slide.]

24 MISHRA: Just to anchor myself to the information flow  
25

1 diagram that Bob presented. The first part of the talk  
2 deals with the modeling of unsaturated zone flow. Beginning  
3 with the information that comes from the site geohydrology,  
4 we develop unsaturated zone flow models at the site scale  
5 from which the information regarding the unsaturated zone  
6 flux is abstracted, feeding into the geosphere transport  
7 model. Later in the afternoon David Sevougian will be  
8 talking about the relationship between cumulative release  
9 geosphere transport and unsaturated zone flux.

10 The second model that we use, as Bob mentioned, is  
11 a stochastic fracture flow model from which comes  
12 information regarding drift-scale fluxes, which are then  
13 used in the EBS transport calculation to predict the peak  
14 EBS release rate. Later this morning Jerry McNeish will be  
15 talking about this.

16 [Slide.]

17 MISHRA: Moving on to a conceptual picture of the  
18 hydrology of the scale of the mountain, here I show a cross  
19 section of Yucca Mountain with the hydro-stratigraphic unit  
20 beginning with the welded Tiva Canyon, the non-welded  
21 Paintbrush, and the welded Topopah Spring, which is the  
22 repository horizon, the non-welded vitric Calico Hills and  
23 the non-welded geolithic calico Hills.

24 The intent of this diagram is to show essentially  
25 the distribution of water as it enters the natural system

1 through precipitation. Water enters the mountain as  
2 infiltrating water and then by the time it gets to the  
3 repository horizon it has been redistributed spatially into  
4 some percolation flux, which we call  $Q$  perc.

5 Then one looks at the partitioning of this  
6 percolation flux as two different scales.

7 At the scale of the repository, which is, let's  
8 say, on the order of a kilometer, we are interested in  
9 microscopic partitioning of that percolation flux between a  
10 flux that goes through the fractures and a flux that goes  
11 through the matrix.

12 Then when one focuses more into the scale of an  
13 individual drift and not the individual waste packages, as  
14 is shown in this inset, the idea is to determine how this  
15 overall percolation flux is partitioned into some spatially  
16 variable percolation fluxes for each of the individual  
17 drifts and subsequently how that percolation flux is further  
18 partitioned into flux through a dripping fracture entering  
19 into a drift and possibly impinging on a waste package with  
20 the rest going around the drift and flowing through  
21 matrices.

22 Essentially the two components of the unsaturated  
23 zone hydrologic model are the first one that focuses on a  
24 larger-scale flux partitioning between fractures and the  
25 matrix and the second one that looks more closely at the

1 scale of the individual drifts and then diverts flow into  
2 dripping fractures all around the drifts through the matrix.

3 [Slide.]

4 MISHRA: To put it in words, there are two objectives  
5 of this part of the presentation.

6 The begin with, the site-scale model developed by  
7 LBL-USGS to develop repository-scale abstractions, taking  
8 into account various sources of parametric and conceptual  
9 uncertainties.

10 The second objective is to use a stochastic  
11 fracture flow model to generate drift-scale abstractions.

12 The important thing to keep in mind here is that  
13 we are assuming thermal effects had been dissipated by the  
14 time the EBS geosphere transport is initiated. This, of  
15 course, is an important assumption.

16 The key impact of this is that in a way this is  
17 sort of a conservative assumption because we are not taking  
18 any credit for the fact that thermal effects might further  
19 affect the movement of groundwater below the repository  
20 horizon and then sort of making it flow away from the  
21 repository; there might really be moving flow into the  
22 repository horizon because of capillary effects.

23 [Slide.]

24 MISHRA: What I want to do is show a series of pictures  
25 here in which I talk about the various components of the

1 simulations. First of all, I will be talking about the  
2 unsaturated zone, the repository-scale simulations, and then  
3 go through each of the components in a little bit of detail.

4 Beginning with the first bullet, I talk about how  
5 we use the LBL-USGS site-scale model to simulate the  
6 movement of fluids in the unsaturated zone, and in  
7 particular to develop correlations between infiltration and  
8 the velocity in the fractures in the matrix and the flux in  
9 the fractures of the matrix.

10 [Slide.]

11 MISHRA: Here I show a two-dimensional cross section  
12 extracted from the LBL-USGS model. Once again, you see the  
13 same sort of hydro-stratigraphic classification beginning  
14 with the welded Tiva Canyon, the non-welded Paintbrush, the  
15 Topopah Springs, the basal vitrophyre of the Topopah  
16 Springs, and the Calico Hills unit.

17 Just for reference, the repository is located  
18 slightly below an elevation of 1,100 meters. Or I should  
19 say the potential repository is planned to be located at an  
20 elevation of around 1,100 meters.

21 The flow calculations are done using this cross  
22 section, and when we do the abstractions we use a  
23 one-dimensional column located somewhere around here to  
24 develop the correlations between infiltration and velocity.

25 That column essentially passes through the center of the



proposed repository block.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

[Slide.]

MISHRA: The second aspect that I want to touch upon is the alternative conceptualization of infiltration. Beginning with the infiltration that was presented by Flint & Flint in 1994, we came up with two infiltration ranges, as Bob alluded to.

The low range, which spans from 0.01 to 0.05 millimeters per year with a mean of about 0.02 millimeters per year, comes by assuming that the surficial infiltration that comes from the footprint of the repository is essentially migrated downwards in some predominantly one-dimensional vertical flow regime. That's the low end of the infiltration.

The high infiltration range, ranging from 0.5 to 2 millimeters per year with a mean of about 1.2 millimeters per year, comes by assuming that the spatially variable infiltration rate enters the unsaturated zone. Then at some position above the repository, perhaps along the base of the welded Tiva Canyon or in the non-welded Paintbrush, there is some significant lateral diversion and some mixing, and from then on it just goes downwards at some mean value which is of the order of 1 millimeter per year and the range is between 0.5 and 2 millimeters per year.

[Slide.]

1 MISHRA: Just sort of a clarification as to why we use  
2 the infiltration map of Flint & Flint. Throughout this  
3 series of presentations you will see information on the  
4 design or site characterization that might not be fully  
5 representative of what is known today, but this is what we  
6 knew best six months ago when we essentially froze all of  
7 the information related to design and site characterization.

8 This is representative of a snapshot in time with respect  
9 to what was known best.

10 [Slide.]

11 MISHRA: Bob mentioned about how in these process model  
12 calculations we do try to take into account the uncertainty  
13 and the variability in the parameters, and that is what I  
14 want to talk about next.

15 Multiple realizations with respect to matrix flow  
16 properties are taken from the database developed by Al  
17 Schenker at Sandia National Labs. This slide shows the  
18 ranges associated with various matrix hydrologic properties  
19 for the hydro-stratigraphic units that occur below the  
20 repository horizon and which act as the predominant pathways  
21 for the transport of radionuclides from the repository to  
22 the water table.

23 For example, this line shows the range associated  
24 with the porosity of the welded Topopah Springs. Here I  
25 show in this blue the saturated conductivity in log scale

1 and its variations for the non-welded vitric Calico Hills.  
2 These drop similarly. The ranges associated with the Van  
3 Genuchlen parameters are essentially parameters that  
4 describe the curvature, if you will, of the capillary  
5 pressure curve.

6 What we do with this information is that given  
7 this range, we do samples from it and develop multiple input  
8 files for performing the unsaturated flow calculations.  
9 That is a way of incorporating parametric uncertainty before  
10 we transfer that information over to the TSPA calculations.

11 [Slide.]

12 MISHRA: Finally, I want to talk a little bit about the  
13 conceptualization of fracture-matrix flow.

14 Historically, most of the unsaturated flow  
15 calculations for Yucca Mountain have been done using the  
16 equivalent continuum model in which some volume averaging is  
17 used to develop some "equivalent" properties of the medium,  
18 if you will.

19 One aspect of this equivalent continuum model is  
20 that it allows fracture flow only after the matrix is fully  
21 saturated, and that is what I have put down here as a  
22 fracture flow initiation rule.

23 The conventional assumption is that fracture flow  
24 is initiated after the matrix is fully saturated, and that  
25 corresponds to this value 1 for this parameter  $\sigma$ , which

1 we define as some saturated matrix saturation. You can think  
2 of it as a general value at which liquid flow in fractures  
3 is initiated.

4 We have generalized the existing equivalent  
5 continuum model to allow fracture flow to initiate at some  
6 saturation which is less than 1. We are still under some  
7 global equilibrium constraints, but this is a way of trying  
8 to approximate non-equilibrium flow effects just by allowing  
9 fracture flow to occur before the matrix is fully saturated.

10 For these calculations we take a value of sigma  
11 equals 0.95 to sort of provide an estimate of what would be  
12 the effects of non-equilibrium flow, and that value of 0.95  
13 was chosen based on comparisons with some detailed work done  
14 by Sandia National Labs.

15 [Slide.]

16 MISHRA: Now to show some results of typical  
17 abstractions that were developed. Here I show abstractions  
18 for one particular hydro-stratigraphic unit. This is the  
19 welded Topopah Springs. The graph on the left, which is a  
20 log-log graph versus the matrix pore velocity and the  
21 infiltration flux, shows a band of information that takes  
22 into account the uncertainty in the matrix flow properties,  
23 and it also takes into account the fact that we have two  
24 conceptual models of fracture matrix flow.

25 The graph on the right shows how much of the

1 infiltrating water is flowing through the fractures. That  
2 is the fractional fracture flux, if you will, as a function  
3 of the infiltration rate. The bottom one, the green curve,  
4 represents the results from the conventional equivalent  
5 continuum model and the one on the top, the one in blue or  
6 black, however it appears, represents the effect of the  
7 relaxed fracture flow initiation rule. So that's what  
8 happens when you use  $\sigma = 0.95$  as the criterion for  
9 the initiating fracture flow.

10 It is just an example of the kinds of information  
11 that we pass on for the geosphere transport calculation, and  
12 we develop similar correlations for the other  
13 hydro-stratigraphic units. So much for the unsaturated flow  
14 in the scale of the repository or the scale of a kilometer,  
15 if you will.

16 [Slide.]

17 MISHRA: Moving on to the problem of what is happening  
18 with the scale of individual drips. Once again, let me go  
19 back to the conceptual picture.

20 We are looking at how infiltration is distributed  
21 into percolation, and of course for the time being we are  
22 just assuming that when I say infiltration flux I am really  
23 talking about what is happening to this percolation flux.

24 I have already talked about how this is  
25 partitioned into flux through the matrix and through the

1 fractures and through the velocities through these flow  
2 media. Now I want to talk about how this percolation flux  
3 is partitioned and locally fluxes across a series of  
4 individual drips, and then furthermore how it partitions  
5 into flux through dripping fractures and flux in surrounding  
6 matrix.

7 [Slide.]

8 MISHRA: The flow at the scale of the waste package and  
9 the engineered barrier system, as Bob mentioned, is going to  
10 be influenced by the spatial variability in the percolation  
11 flux. It is also going to be influenced by the spatial  
12 variability in the saturated matrix conductivity.

13 We have some information about the second  
14 component of this issue, the spatial variability in  
15 saturated conductivity, particularly from the database of Al  
16 Schenker.

17 We do not have any information about the spatial  
18 variability in the percolation flux. So that is where the  
19 stochastic fracture flow model comes in. It takes the  
20 infiltration flux and it distributes it for each of the  
21 waste package catchment areas into a spatially variable  
22 percolation flux.

23 Then, depending upon whether that percolation flux  
24 is greater than the local spatially variable saturated  
25 conductivity, it is diverted into dripping fractures that

1 enter the drift, or it is diverted into the surrounding rock  
2 quarry.

3 Using these rules, we developed functional  
4 relationships between the number of dripping fractures and  
5 the flux through these fractures both for the low  
6 infiltration range and also for the high infiltration range.

7 [Slide.]

8 MISHRA: That is what I am showing here as an example  
9 of the kinds of drift-scale abstractions that we developed.

10 On the left axis you have the fraction of packages with  
11 drips as a function of the infiltration flux shown here in  
12 log scale, going from 0.01 to to 2 millimeters per year,  
13 which corresponds to the range of infiltration that is of  
14 interest to us in the TSPA calculation.

15 The graph on the right shows the corresponding  
16 flux through the dripping fractures.

17 That sort of gives you an idea, I hope, as to what  
18 are the process models that are being used to develop  
19 information regarding the ambient flow system. I have  
20 talked about how we use the LBL-USGS site-scale model to  
21 develop repository scale abstractions, how we use the  
22 stochastic fracture flow model to develop the drift-scale  
23 abstractions.

24 Some remarks about what are the uncertainties and  
25 limitations in these calculations.

1 First of all, we do acknowledge that the treatment  
2 of non-equilibrium fracture flow needs to be improved upon,  
3 needs to be calibrated to observations and/or to more robust  
4 models.

5 We have not included thermal effects. We need to  
6 look at mountain scale thermo-hydrologic models to see what  
7 relationship is between the time at which the system goes  
8 back to ambient as a function of thermal load.

9 We need some better information about percolation  
10 flux at depth.

11 [Slide.]

12 MISHRA: Moving on to the second part of the talk,  
13 which deals with thermo-hydrologic modeling. Once again, to  
14 anchor this talk to the overall information flow, this is  
15 the same diagram.

16 The interest here is to develop a drift-scale  
17 thermo-hydrologic model with information coming from site  
18 geohydrology, from repository design, from waste package  
19 design.

20 The output consists of drift-scale temperatures,  
21 drift-scale humidities and drift-scale saturations.

22 Drift-scale saturations, or water content, are  
23 used to calculate the diffusive release through the  
24 engineered barrier system. Jerry McNeish will be talking  
25 about that aspect of the performance assessment calculations



1 later.

2           The second and important application of this  
3 information, particularly with respect to temperatures and  
4 humidities, are in the waste package degradation model  
5 applications and the subsequent prediction of waste package  
6 failures leading to an evaluation of substantially complete  
7 containment.

8           Joon Lee, who follows this presentation, will talk  
9 about this sub-network, if you will.

10           [Slide.]

11           MISHRA: This analysis is motivated by the fact that a  
12 good understanding of near-field thermo-hydrologic  
13 conditions are important to provide a good handle on waste  
14 package/EBS performance predictions.

15           In particular, the initiation/rate of corrosion of  
16 waste packages depends on temperature and relative humidity,  
17 and diffuse release of radionuclides through the waste  
18 package/engineered barrier system depends on the liquid  
19 saturation or on the water content.

20           The objectives are to develop a two-dimensional  
21 drift-scale model to predict temperature, liquid saturation  
22 and relative humidity as a function of various infiltration  
23 fluxes representing a low end and a high end, two thermal  
24 loads representing a low and a high value, and two backfill  
25 options. One is with a backfill and the other is without

the backfill, so there is just an air gap in the drift.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

[Slide.]

MISHRA: Here is a picture of the model

First, the 2-D cross section, which is extracted from the LBL-USGS model and corresponds to a location which is somewhere in the center of the proposed repository block.

It once again shows the same six stratigraphic units, and for this particular column the repository is located almost halfway in between the surface and the groundwater table at 350 meters above the water table.

An expanded view of this inner region gives you this picture of what the waste package and the drift looks like. We are taking as a representative waste package 21-PWR multipurpose canister with a diameter of 1.8 meters emplaced in a drift of 5 meters and placed on top of a pedestal which lies on an invert.

When the backfill option is invoked, we are using what I call a "gravel" backfill. I will talk about this a little bit later. Primarily there has been no decision with respect to what will be the material used as the backfill, so we are using just some sort of a representative set of values for the backfill in terms of its thermo-hydrologic characteristics.

[Slide.]

MISHRA: Let me show you some results. Here are some

1 two-dimensional color maps of the liquid saturation  
2 distribution in the vicinity of the repository. The idea  
3 here is to show that liquid saturation changes in the  
4 vicinity of the drift after somewhere on the order of  
5 between 100 and 1,000 years, and by the time we go to 10,000  
6 years this has pretty much gone back to ambient.

7 [Slide.]

8 I will skip the next viewgraph, which shows  
9 temperatures, and come to what we are doing with respect to  
10 the uncertainty regarding backfill characteristics. As I  
11 said, not much has been decided with respect to backfill  
12 characteristics. So we have alternative thermo-hydrologic  
13 models which are based on different assumptions regarding  
14 what the backfill is composed of.

15 In particular, we picked one calculation that was  
16 done by Tom Buscheck at Lawrence Livermore Labs and use it  
17 as sort of an alternative representation of the backfill  
18 drift system. The idea is to use both of these sets of  
19 results in order to evaluate the performance of the  
20 backfill-based system to see what difference it makes.

21 This is a listing of all the differences between  
22 the two models, and particularly let me focus on this one,  
23 thermal conductivity.

24 A low thermal conductivity essentially makes the  
25 heat transfer less efficient, makes the temperature higher

1 and makes the relative humidity lower, and so you get one  
2 set of predictions.

3 On the other hand, if you have a high thermal  
4 conductivity, it makes the heat transfer faster and the  
5 system goes back to ambient much quicker; relative  
6 humidities are higher, and so on.

7 [Slide.]

8 MISHRA: To show what it means in terms of real  
9 calculations, here is a side-by-side comparison of the  
10 results from Buscheck done at a thermal load of 80 MTUs per  
11 acre with no background infiltration, compared to what was  
12 done in this study for 83 MTUs per acre with infiltration of  
13 0.05 millimeters per year.

14 The curves which are increasing with respect to  
15 time are the humidities, and as you can see, the two models  
16 give very different values or very different predictions of  
17 humidity, from about 60 percent to about 95 percent here.

18 I would just note that in our corrosion models  
19 humid air corrosion is assumed to be initiated at a value of  
20 about 70 percent relative humidity.

21 The temperatures are the ones which are decreasing  
22 with respect to time after this early increase, and as you  
23 can see, the differences are not significant at late times.

24 At early times the differences come because the backfill  
25 thermal conductivities are somewhat different.

This curve will come back again when Jerry and

1 Dave talk about the performance of the different design  
2 options with respect to EBS and the geosphere calculations.

3 [Slide.]

4 MISHRA: To sum up, we are providing temperature,  
5 relative humidity and liquid saturation results as an input  
6 to waste package/engineered barrier system calculations.

7 Alternative conceptual and numerical models of the  
8 backfill system have been shown to yield very different  
9 temperature and relative humidity predictions.

10 Some of the uncertainties are with respect to  
11 backfill thermo-hydrologic properties, with respect to how  
12 it calculates to relative humidities, and also a very  
13 important assumption that I have not mentioned so far is  
14 that all of these calculations are done assuming equivalent  
15 continuum model. Fracture flow effects have not been  
16 included in these calculations.

17 Let me conclude with that. I see frantic glances  
18 from Bob. I have probably exceeded my time.

19 LANGMUIR: Thank you, Srikanta. You're right on time.

20 Let me start it out with a question related to the  
21 model you are using and the limitations of it, at least my  
22 perception of them. I didn't see any discussion at all of  
23 being able to incorporate lateral flows of groundwater in  
24 the unsaturated zone, perched water, lateral movement along  
25 saturated horizons. All of your models suggested everything

1 was a vertical flow. Can you deal with perched water below  
2 the repository and lateral flows?

3 MISHRA: One of the limitations of the models that we  
4 are using is that each hydro-stratigraphic unit is assumed  
5 to be homogenous in its characteristics. The reason why you  
6 might have locally perched water is you have distributed  
7 heterogeneities.

8 In fact, some of the calculations done at Sandia  
9 National Labs for the groundwater travel time study with  
10 distributed heterogeneities do show that you can develop  
11 locally perched water conditions if you take into account  
12 spatially distributed heterogeneity.

13 That is not included in this model. Perched water  
14 is not explicitly included. In a way it cannot be included  
15 unless by the sampling scheme you create, for example, a  
16 parameter distribution for the basal vitrophyre of the  
17 Topopah Springs, which has such hydrologic characteristics  
18 that it becomes saturated. That is with respect to perched  
19 water.

20 [Slide.]

21 MISHRA: With respect to lateral flow, I think in a way  
22 we are sort of implicitly including it in our second  
23 infiltration scenario where we say that if you start with  
24 the Flint & Flint infiltration map, which is the basis for  
25 our infiltration scenarios, and if you look at the high

1 infiltration zones that come from the outcropping Paintbrush  
2 units here, and perhaps here, and then you take them down  
3 and assume that there is some lateral flow within the  
4 Paintbrush, and that mixing produces an effective  
5 infiltration rate, which is sort of the spatial average of  
6 these numbers, then I think that is sort of a surrogate way  
7 of accounting for lateral flow and mixing about the  
8 repository horizon.

9           It's a simplistic representation, but I think it's  
10 a preliminary surrogate, if you will.

11           LANGMUIR: Pat Domenico.

12           DOMENICO: On slide 11, the diagram on our right, if  
13 you have an infiltration flux of, let's say, two or two and  
14 a half, that diagram would suggest that the fractures take  
15 all the flow?

16           MISHRA: No. I would not extrapolate this, because I  
17 don't think the relationship is linear.

18           DOMENICO: It looks like it's heading that way.

19           MISHRA: If you look at this value?

20           DOMENICO: Yes.

21           MISHRA: No. It's taking about 60 percent of the flow.

22           DOMENICO: At that point, but if you increase the  
23 infiltration by just, let's say, one millimeter per year,  
24 what effect would that have on the amount going into the  
25 fractures?

1 MISHRA: I think it would probably increase it, but  
2 once again, this is a very preliminary model and I would be  
3 very wary of linearly extrapolating or non-linearly  
4 extrapolating it. It would certainly increase it, but  
5 whether it would increase it to .8 or whether it would  
6 increase to .9, I don't know.

7 DOMENICO: The very same conclusion can come from  
8 figure 13. If we just increased infiltration by a mere  
9 millimeter per year, most of the packages will have drips on  
10 them.

11 MISHRA: That is also to some extent dependent on what  
12 is the assumption regarding the spatial variability of the  
13 Topopah Springs permeabilities, because that sort of  
14 controls how you are diverting the infiltration into the  
15 drifts.

16 DOMENICO: Going to the one showing relative humidity,  
17 your infiltration flux has taken a mere .05 millimeters per  
18 year. I presume if it goes up to 1 the relative humidity  
19 increases pretty fairly.

20 I think what I am saying is once we start getting  
21 fluxes greater than 1 millimeter per year some bad things  
22 start to happen. That's what these show, if I can  
23 extrapolate that.

24 MISHRA: Yes. I think the caveat here is that these  
25 are equilibrium models and these do not describe the



1 non-equilibrium fracture flow effects, particularly at high  
2 infiltration rates. The question is, to what duration can  
3 you sustain these high infiltration rates? I think if we  
4 have sustained high infiltration rates of the order of 7  
5 millimeters per year with what is known about the matrix,  
6 then I think we are in trouble.

7 DOMENICO: This takes an initial condition. What was  
8 your initial degree of saturation before you started this?  
9 Basically from Flint's work?

10 MISHRA: For these calculations, the initial saturation  
11 distribution would depend on what is the background  
12 infiltration rate. For zero infiltration rate it would  
13 essentially be the capillary -- this is with a backfill  
14 drift. When you emplace a drift you assume that it is at  
15 very low saturation, almost dry. Essentially the drift  
16 stays dry for quite a long time.

17 DOMENICO: Thank you.

18 LANGMUIR: Ed Cording.

19 CORDING: Related to the same line that Pat Domenico  
20 was looking at, on figure 13 you talked about the drips. It  
21 does show that drips will reach almost all the packages as  
22 you get flux above one millimeter, but water is dripping on  
23 to all the packages. Essentially, you are basically  
24 assuming an infinite number of fractures in the system such  
25 that there is always a fracture distribution over each

1 package that is the same throughout the repository. Is that  
2 correct?

3 MISHRA: Not exactly. You have a distribution of  
4 drips, but you also have a distribution of fluxes. The flux  
5 through the dripping fractures is not the same. The flux  
6 can be very small or it can be quite large.

7 CORDING: The dripping fracture is related to flux  
8 only, not to distribution of fractures. You don't have a  
9 distribution of fractures that is concentrating flow in any  
10 way. It's strictly related to the distribution of the flux.

11 So there is going to be some distribution of fractures in  
12 addition to distribution of flux that is going to control  
13 drips on packages.

14 MISHRA: Right. In a way this simplistic model doesn't  
15 really explicitly take into account what is the local  
16 fracturing. It sort of says that you look at what is the  
17 matrix saturated conductivity and then you divert the rest  
18 of it into fracture. Actually, this needs to be refined  
19 into two component models where you take the matrix  
20 properties and the fracture properties and then use the  
21 partitioning.

22 CORDING: For example, if you are concentrating some of  
23 the flows with local effects that are concentrating flows in  
24 major fault systems, then you have a more favorable  
25 condition than what you are describing.

LANGMUIR: John Cantlon.

1  
2 CANTLON: In your figure 4 which you have up there  
3 you've describe for us the movement of water into and  
4 dripping on the containers, but you've now created a very  
5 handsome lateral fracture flow system by building a  
6 repository that slopes downhill.

7 MISHRA: That's only for schematic purposes.

8 CANTLON: The reality is it's also sloping down hill.

9 MISHRA: No. The new design is that it's mostly flat.

10 CANTLON: Totally flat?

11 MISHRA: It has a very small grade.

12 CANTLON: Water moves down very small grades.

13 In other words, you are going to distribute water  
14 irrespective of where it comes in over the top of that  
15 invert. The invert is not going to disappear totally. So  
16 you are going to distribute water pretty much throughout the  
17 repository wherever it comes in.

18 MISHRA: To some extent that might be true, but then  
19 the other thing to take into account is that you are also  
20 creating a system in which there are some capillary  
21 differences between an open drift and what the surrounding  
22 rock is. So there is some potential for the flow to be  
23 diverted around the drift as opposed to entering the drift  
24 if you do not have local fractures.

25 CANTLON: That postulates some very interesting  
differences between your engineered structure here and

1 native rock. I guess my conceptual view would be that if  
2 you have a concrete invert and whatever your fill on that  
3 would be is going to provide a lateral transfer system.

4 MISHRA: When you talk about the engineered system,  
5 what we have not taken into account here is that that  
6 engineered system is going to be thermally perturbed.  
7 Because of that, I think the local water flow system is  
8 probably not going to be as simple as we have sketched out  
9 here. This is our preliminary attempt at how one would zoom  
10 in on a fine scale and try to predict the movement of water,  
11 but it does need to take into account the effects of thermal  
12 disturbances.

13 ANDREWS: Let me add something. One has to recognize  
14 these are very low flux values. The capillary  
15 characteristics of the rock are such and gravity is such  
16 that any possibility for lateral flow even along these kind  
17 of gradients or steepness of grade, if you will, is  
18 virtually nil. Because of the capillary characteristics of  
19 the rock, things are going to move vertically, not laterally  
20 within the drifts.

21 CANTLON: It would overwhelm the flow.

22 ANDREWS: Yes. It would overwhelm what I think you  
23 perceive as a potential horizontal flow.

24 LANGMUIR: Although how do you get perched water if  
25 that's the case?

We are currently three minutes into our break.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

COHON: I have a question.

LANGMUIR: A very short one, please, Jerry, because we won't have much time for coffee.

COHON: Could you put up slide 15.

[Slide.]

COHON: Just two very quick and basic questions about this. Looking at the drift-scale thermo-hydrology model, why do we take inputs from the site geohydrology rather than the unsaturated zone flow model?

MISHRA: The input comes from site geohydrology in terms of the hydrologic properties.

COHON: I certainly understand why you need that input, but having done the unsaturated zone flow model to understand or predict how the site geohydrology turns into unsaturated zone flow, why not use that in the thermo-hydrology model at the drift-scale.

MISHRA: In a way these two models are sort of decoupled, because the scales are different. The unsaturated zone flow model does not treat the repository at all, whereas the drift-scale thermo-hydrologic model is essentially looking at the unit cell between adjacent drips and between adjacent waste packages.

The only way it interacts with the unsaturated system is because of the boundary conditions. The top

1 boundary is at the ground surface. So you can think of it  
2 as a very slender column that goes from the top of the  
3 mountain to the water table, but it's essentially a column  
4 that is inside the repository.

5 COHON: I've made my point and I think it's one worth  
6 considering. We can talk more about that.

7 The other quick question. We are assuming a  
8 certain climate and rainfall regime, and that's fixed?

9 MISHRA: For these calculations, yes.

10 COHON: That does not appear anywhere in this diagram.

11 Is that one of those external factors?

12 MISHRA: I guess it would be coming under here as to  
13 what the top boundary condition is at the surface in terms  
14 of the water entering into the mountain. But climate change  
15 is not explicitly included in these calculations.

16 LANGMUIR: I'm going to interrupt here. We only have  
17 five minutes left for the coffee break if we stay on  
18 schedule. I will give you two more and we will try to make  
19 it up. Please reconvene in about seven minutes, which is  
20 10:07.

21 [Recess.]

22 LANGMUIR: Our next speaker is Joon Lee. His topic is  
23 waste package degradation model and results.

24 LEE: Good morning. In this presentation I will  
25 discuss work performed on waste package degradation modeling

and abstraction for TSPA-1995.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

[Slide.]

LEE: As discussed yesterday in the waste containment and isolation strategy by Jean, the waste package is one of the major components in the current waste isolation strategy.

[Slide.]

LEE: You have already seen this diagram. My presentation covers this area indicated with color. Information on waste package design and material properties are fed into this modeling process. The importance to this modeling process is drift-scale temperature and humidity profile which was discussed by Srikanta Mishra in the previous presentation. This modeling process fed into the EBS transport modeling process, which will be discussed by Jerry McNeish.

[Slide.]

LEE: The objectives.

To assimilate relevant corrosion degradation data for similar containment barrier materials in similar environments. An extensive corrosion testing program just got under way at Lawrence Livermore National Lab, and we expect we will start getting those data soon. In TSPA we collect relevant corrosion data from general literature and we will use it to develop corrosion models.

1 Another objective is to develop corrosion models  
2 for the containment barrier materials and implement those  
3 corrosion models and their uncertainties to develop a  
4 detailed stochastic waste package degradation simulation  
5 model.

6 Another objective is to develop abstractions for  
7 waste package degradation for TSPA model.

8 In the abstraction process, as Srikanta discussed,  
9 the drift-scale temperature and humidity profile were used.

10 Also in the abstraction process the distribution  
11 of initial pit penetration parameters were used  
12 stochastically, and I will repeat that one in more detail  
13 later.

14 [Slide.]

15 LEE: The last objective is to investigate the  
16 sensitivity of waste package performance to different  
17 conceptual models, including cathodic protection,  
18 alternative thermal-hydrologic models, thermal load,  
19 corrosion initiation, infiltration rate, and backfill.

20 This presentation will discuss the result for the  
21 first three cases, which has much greater impact than the  
22 last three cases.

23 [Slide.]

24 LEE: Currently the waste disposal container has  
25 different designs, depending on type of waste and depending



1 on thermal load. In TSPA-1995, however, all waste  
2 containers were assumed to have the same design with 20  
3 millimeter thick inner barrier alloy 825 and 100 millimeter  
4 thick carbon steel outer barrier.

5 [Slide.]

6 LEE: This slide gives you sort of an overview of the  
7 stochastic waste package performance simulation model.

8 The humid air corrosion models for the outer  
9 barrier corrosion allowance material includes a general  
10 corrosion model and a pitting corrosion model.

11 Aqueous corrosion models for the same outer  
12 barrier corrosion allowance material also includes a general  
13 corrosion model and a pitting corrosion model.

14 The stochastic simulation model has aqueous  
15 pitting corrosion model for the inner barrier corrosion  
16 resistant material.

17 These models are incorporated into the stochastic  
18 waste package degradation simulation model.

19 Also, drift-scale temperature and RH histories are  
20 fed into the stochastic simulation module as a lookup table.

21 This simulation module provides information on  
22 waste package failure and waste package degradation history.

23 These are abstracted into the EBS radionuclide transport  
24 model. I will discuss that in detail in the later part of  
25 this presentation.

[Slide.]

1           LEE: This slide shows the approach to waste package  
2 degradation simulation.

3           In the post-closure repository we expect that  
4 there will be an extended period of dry-out in the  
5 near-field environment and that the near-field environment  
6 will gradually close down and the humidity will gradually  
7 increase.

8           We expect that the waste package initially will be  
9 exposed to a humid air corrosion environment and that the  
10 corrosion mode will gradually change to different corrosion  
11 modes with time.

12           This flow chart is showing the sequence of events  
13 we expect for the degradation of the waste package in the  
14 repository. I will be using this flow chart to guide you  
15 for my presentation. I will revisit this flow chart for  
16 each step and discuss it a little bit in detail.

17           [Slide.]

18           LEE: I will discuss humid air corrosion models for the  
19 outer barrier corrosion allowance material.

20           The humid air general corrosion model was  
21 developed as a function of time, RH, temperature and sulfur  
22 dioxide level in the near-field environment. In actual  
23 simulation we assumed that the sulfur dioxide is a  
24 negligible level.  
25

[Slide.]

1           LEE: This slide shows the humid air general corrosion  
2 depth in microns in the y axis as a function of exposure  
3 time in years. This solid line is a model fit. The dashed  
4 lines are uncertainty of 2 standard deviations of the model  
5 fit.

6           LANGMUIR: Joon, is this for the steel or this for  
7 alloy 825?

8           LEE: This is the corrosion allowance material, carbon  
9 steel and cast iron. Cast iron has similar corrosion  
10 behavior, so I included all of them.

11                   In the stochastic simulation model there was  
12 uncertainty utilized to represent those variabilities among  
13 waste packages and among pits. I will discuss them in a  
14 little bit of detail later.

15           [Slide.]

16           LEE: To develop the pitted corrosion model for the  
17 corrosion allowance material in the humid air environment we  
18 assume that the pitting factor has a normal distribution  
19 with a mean of 4 and a standard deviation of 1. This slide  
20 shows predicted pit depth distribution of corrosion  
21 allowance material in constant humid air conditions of 60  
22 degrees celsius and 90 percent RH for different exposure  
23 times.

24                   The y axis shows the pit depths as probable  
25

1 density function and the x axis is the pit depths in  
2 millimeters.

3 As you will notice, with time the pit distribution  
4 is spread out. If we consider 100 millimeter thick  
5 corrosion allowance material exposed to this environment  
6 continuously, we expect that pit penetration initiates at  
7 about 3,000 years.

8 [Slide.]

9 LEE: For the aqueous general corrosion model we  
10 developed a model based on literature data as a function of  
11 time and temperature.

12 [Slide.]

13 LEE: This slide shows the aqueous general corrosion  
14 depths in micron in the y axis as a function of exposure  
15 time at the x axis.

16 The solid line is the model prediction and the  
17 dashed lines are 2 standard deviations of the model  
18 prediction.

19 Again, the uncertainties of the model prediction  
20 were utilized in the stochastic waste package degradation  
21 modeling.

22 LANGMUIR: A little nit-picky, but several of us had  
23 questions about one of your equations. I think it's  
24 viewgraph 8, which was the original damage function. It  
25 looks like there might be errors in the way the terms are

1 expressed. It looked as if your relative humidity should be  
2 a multiplier rather than an inverse and your temperature  
3 should be a multiplier rather than an inverse.

4 [Slide.]

5 LEE: You mean the humid air corrosion case.

6 LANGMUIR: The equation suggests that as humidity goes  
7 up corrosion goes down. Not this equation, but the one on  
8 overhead 8.

9 LEE: A1 has a negative. I didn't say that. The same  
10 as this one. A2 is a negative number. The other one has a  
11 negative number. I didn't go into detail about the  
12 parameters.

13 LANGMUIR: This is interesting to us.

14 LEE: A2 has a negative number. RH goes up and the  
15 depth is increasing exponentially.

16 [Slide.]

17 LEE: This slide shows the temperature dependency in  
18 aqueous general corrosion of corrosion allowance material.  
19 What you see here is in aqueous corrosion we have a maximum  
20 corrosion at temperatures between 60 and 70 degrees C.

21 [Slide.]

22 LEE: For the pitting corrosion modeling in aqueous  
23 conditions of corrosion allowance material we also assume  
24 that the pitting factor has a normal distribution with a  
25 mean of 4 and a standard deviation of 1. This overhead

1 shows predicted pit depth distribution of corrosion  
2 allowance material in constant aqueous condition of 60  
3 degrees celsius for different exposure times.

4 The y axis is the pit depth P.D.F. and the x axis  
5 is pit depths in millimeters. If we consider 100 millimeter  
6 thick corrosion allowance material, we expect that the pit  
7 starts penetrating the material thickness if the material is  
8 exposed continuously to this constant aqueous corrosion  
9 environment.

10 [Slide.]

11 LEE: So far I have covered the humid air corrosion  
12 allowance material and aqueous corrosion allowance material.

13 I will discuss a little bit about aqueous corrosion  
14 resistant inner barrier material.

15 Because there has been no new development or  
16 improvement of the inner barrier corrosion model which was  
17 used in TSPA-1993, we used the same corrosion model in this  
18 TSPA. Basically that inner barrier corrosion model gives a  
19 constant pit growth rate in the alloy 825 irrespective of  
20 exposure time.

21 [Slide.]

22 LEE: The inner barrier corrosion model is simply  
23 expressed as a function of temperature only, as shown on  
24 this slide. The y axis is pit growth rate; the x axis is  
25 exposure temperature in celsius.

1           The solid line is a mean growth rate. The dashed  
2 line is the 5th percentile growth rate and the broken line  
3 above is 95th percentile growth rate.

4           As you will notice, there is about six orders of  
5 magnitude difference between 100 degrees C and room  
6 temperature. This huge difference in pit growth rate has a  
7 significant impact on the waste package performance between  
8 two different thermal load cases.

9           Also, the uncertainty in the pit growth rate was  
10 captured in the stochastic waste package simulation module.

11           [Slide.]

12           LEE: I'm using this slide again.

13           Those corrosion models I discussed so far were  
14 incorporated into the stochastic waste package simulation  
15 module with drift-scale temperature and humidity profiles at  
16 the waste package surface.

17           [Slide.]

18           LEE: Now I will present actual simulation results for  
19 the waste package performance. The first result I will  
20 present is waste package failure time, which has relevant  
21 information to the substantially complete containment  
22 requirement, NRC subsystem requirement.

23           Currently there is no definition of substantially  
24 complete containment, but it has been tentatively defined as  
25 having less than one percent failure of the waste package in

1 1,000 years, and the definition of waste package failure, as  
2 indicated by Bob, as having at least one pit penetration.

3 The waste package failure time corresponds to  
4 initiation of waste form alteration radionuclide  
5 mobilization.

6 The next result I will present is a waste package  
7 degradation history, which has direct relevance to  
8 controlled release NRC subsystem requirements. This waste  
9 package degradation history has direct input to the  
10 radionuclide release rate.

11 [Slide.]

12 LEE: Before I get into the discussion of the results,  
13 I will present a few of the major assumptions in the  
14 stochastic simulation.

15 Humid air corrosion of corrosion allowance outer  
16 barrier initiates at relative humidity between 65 and 75  
17 percent.

18 Aqueous corrosion starts at relative humidity  
19 between 85 and 95 percent.

20 Corrosion resistant inner barrier material is only  
21 subjected to aqueous pitting corrosion.

22 The uncertainties in the corrosion models were  
23 utilized to represent pit-to-pit variability and waste  
24 package-to-waste package variability.

25 The philosophy behind this is that in the



1 repository we will have about 10,000 waste packages spread  
2 over a large area of the repository. So local corrosion  
3 environment at one end of the repository may be different  
4 from the other end of the repository. We tried to capture  
5 that variability among waste packages using the uncertainty  
6 in the corrosion models.

7 Also the waste package has such a large area, so  
8 the local corrosion environment at one end of the waste  
9 package may be different from the other end of the waste  
10 package. We utilized the uncertainties in the corrosion  
11 models to represent those variabilities.

12 Currently we don't have any information about the  
13 degree of variability among waste packages and pits. So we  
14 just equally split the uncertainties in the corrosion  
15 models.

16 [Slide.]

17 LEE: This slide shows the simulation result for waste  
18 package performance versus cathodic protection.

19 Let me discuss a little bit about cathodic  
20 protection. The inner barrier alloy 825 has a much higher  
21 corrosion potential than the outer barrier carbon steel. So  
22 if we have two metals contacting and exposed to a corrosion  
23 environment, the outer barrier carbon steel will corrode  
24 preferentially or sacrificially before the initiation of  
25 inner barrier corrosion.

1           In this simulation we delayed the pitting  
2 corrosion of the inner barrier until the outer barrier  
3 thickness was reduced by 75 percent. Here the y axis is the  
4 cumulative fraction of waste packages with first pit  
5 penetration and the x axis is the exposure time in years.

6           The solid line here is the result for the case  
7 without cathodic protection. The broken line here is the  
8 result for the case with cathodic protection.

9           In the case without cathodic protection, the  
10 initial pit penetration starts at about 2,000 years compared  
11 to about 8,000 years in the case with cathodic protection.  
12 So with this simple cathodic protection mechanism the waste  
13 package is buying about 6,000 years in performance.

14           But if you look at the 10,000 year time frame  
15 without cathodic protection, about 90 percent of the waste  
16 packages have at least one pit penetration compared to a  
17 negligible number of waste packages with pit penetration.  
18 So this simulation result shows the significant impact of  
19 cathodic protection for the waste package performance.

20           [Slide.]

21           LEE: This slide shows a similar simulation result but  
22 for the thermal case.

23           Again, the y axis is the cumulative fraction of  
24 waste packages with first pit penetration, and the x axis is  
25 exposure time in years.

1           Also shown in this slide is the result using  
2           temperature and humidity profiles from Buscheck's model,  
3           which was discussed by Srikanta Mishra.

4           What is shown generally on this slide is that the  
5           waste package failure rate is much lower in a low thermal  
6           case. The major factor for this is that lower temperature  
7           environment in the low thermal case gives much lower pit  
8           growth rate over the inner barrier. You will recall the  
9           temperature dependency of the inner barrier pit growth rate  
10          I showed you a few slides back.

11          Also, Buscheck's model, which is a different  
12          conceptual model, always gives higher temperature and lower  
13          humidity. The impact shows a much lower waste package  
14          failure rate. This difference is much pronounced in high  
15          thermal load case.

16          [Slide.]

17          LEE: This is the simulation results for waste package  
18          degradation history. This is representative pitting  
19          histories of 25 waste packages. Each line indicates the  
20          pitting history of each waste package. We have 25 lines  
21          here.

22          The y axis is the fraction of pits through  
23          container wall thickness and the x axis is exposure time in  
24          years.

25          What this slide shows is that some waste packages

1 have a very high pitting rate compared to some packages  
2 having a lower pitting rate. This kind of a difference in  
3 pitting behavior in different waste packages was captured by  
4 utilizing variability among waste packages and among pits.  
5 Also, changing environment with time.

6 This input fed into the EBS transport model  
7 simulation will be presented by Jerry McNeish in the next  
8 presentation. The number of pits on the waste packages is  
9 directly proportional to the area of transport of  
10 radionuclide out of failed waste packages.

11 [Slide.]

12 LEE: Summary and conclusions.

13 The current waste package design appears to meet  
14 the substantially complete containment requirement within  
15 the conditions of the degradation modes, assumptions and  
16 near-field environments considered in the simulation.

17 It has been shown that cathodic protection of the  
18 inner barrier by the outer barrier has significant impacts  
19 on waste package performance.

20 In future TSPA we need to substantiate the inner  
21 barrier pitting model and cathodic protection model. We  
22 used a very simple cathodic protection model in the  
23 simulation.

24 Also we need to include stress corrosion cracking  
25 of the inner barrier. Numerous literature indicates that

1 stress corrosion cracking is closely associated with the  
2 pitting process.

3 The last is the potential effects of  
4 microbiologically influenced corrosion needs to be  
5 considered in future TSPA. This is one corrosion mechanism  
6 not counted in this simulation.

7 Thank you.

8 LANGMUIR: Thank you, Joon.

9 Ellis Verink.

10 VERINK: There are two or three questions I would like  
11 to ask you about this.

12 Is there a space between the inner and outer  
13 shell? I know this depends on how it's fabricated.

14 LEE: Currently we assume that the waste package people  
15 will fabricate the waste package with a two layer system  
16 with 100 percent contact. So we assume that there is no  
17 space between two metals.

18 VERINK: There is a little extra safety built into this  
19 which may help that become true. Assuming that the exterior  
20 shell is providing cathodic protection, the corrosion  
21 products would be larger than the volume of metal consumed  
22 to provide that cathodic protection. So this would tend to  
23 seal up the space still further.

24 LEE: I believe the corrosion product wouldn't provide  
25 cathodic protection.

1 VERINK: I don't say that it will.

2 LEE: The conductivity would be much lower. Bare metal  
3 would provide cathodic protection but the corrosion product  
4 wouldn't, I don't believe.

5 VERINK: You will not get cathodic protection of the  
6 inner shell except by the part of the outer shell which is  
7 immediately adjacent to it. It won't run clear around the  
8 outside and touch. As moisture penetrates, the cathodic  
9 protection will occur. You've got to have an electrolyte.

10 LEE: Yes.

11 VERINK: At the ends where it's a sawed off end you  
12 will have cathodic protection sitting there in the open air.

13 What I am saying is that even if you have some  
14 crevice between them, crevice corrosion tends to be a little  
15 more aggressive than others, but the corrosion products of  
16 that crevice corrosion will occupy more space than the metal  
17 it was made from.

18 LEE: That's true.

19 VERINK: This will tend to plug and thereby seal  
20 considerably, so you will get some benefit from that.

21 LEE: I see.

22 VERINK: I think it's desirable to have them so that  
23 they are as close as possible.

24 I made another note here. Your pitting business  
25 going straight through, are you assuming in that calculation

1 that a pit just goes right straight on through the steel and  
2 the coating?

3 LEE: Yes.

4 VERINK: That's contrary to the idea of cathodic  
5 protection, right, because the cathodic protection says that  
6 the outer one is going to corrode and be consumed and  
7 thereby save the inner shell from penetration until enough  
8 of the outer shell is gone that you can no longer  
9 electrochemically protect?

10 LEE: Right. That was captured in the simulation  
11 incorporated with cathodic protection. We are just looking  
12 at sensitivities.

13 VERINK: I am just questioning your curves where you  
14 talked about the time to make complete penetration and what  
15 your interpretation of that was. If you assume cathodic  
16 protection, you are not going to be penetrating the inner  
17 shell until the outer shell is physically consumed over a  
18 considerable distance. So it is more complex than that;  
19 it's more conservative as well. Okay?

20 LEE: Okay.

21 LANGMUIR: I'm going to ask another corrosion-related  
22 question here. Looking at your summary of future TSPA  
23 needs, it would seem to me you need another thing that is  
24 not mentioned. If you look back at overhead 14, I read that  
25 as a uniform corrosion rate of mild steel, and it's done in

1 distilled water. It looks as if your model is based upon  
2 the distilled water performance.

3 One of the critical issues in the coupling of all  
4 the processes in this mountain is going to be the effect of  
5 high salinity created by refluxion on not only sealing off  
6 the mountain or perhaps being involved in heat pipe effects,  
7 but in enhancing corrosion. You could easily have, I would  
8 think, waters in excess of sea water salinity in contact  
9 with waste packages once you have done any kind of refluxion  
10 at all in an evaporative drift.

11 I would be interested if maybe you or Dr. Verink  
12 could comment on how much of an effect going from distilled  
13 water to sea water would have on your corrosion rates for  
14 the soft steel, how important that might be.

15 [Slide.]

16 LEE: This corrosion in distilled water was utilized to  
17 capture temperature dependency. This data used to capture  
18 time dependency has much higher corrosion rates. This is  
19 tropical lake water. It is relatively warm. This is data  
20 actually for polluted river water which contains a lot of  
21 chloride.

22 This one only captured the behavior.

23 LANGMUIR: But your river and lake waters are going to  
24 be 1/10 or less the salinity of sea water, unless they are  
25 extraordinary. You are talking about fresh waters basically



1 here. It sounds as if you need to know more about the  
2 effect of ionic strengths. Maybe the work has been done  
3 somewhere.

4 Ellis.

5 VERINK: It's a mixed bag. The effect of cathodic  
6 protection will be more intense at the more conductive  
7 waters. That means you will get more and better protection  
8 as long as it's there but you will consume the anode  
9 quicker. So there is that kind of a question.

10 DOMENICO: You don't get something for nothing here.

11 VERINK: There is no free lunch.

12 [Laughter.]

13 LEE: My perception is that in a near-field environment  
14 the dripping water will be high in ions, high ion strengths,  
15 but I don't believe that dripping water can have that much  
16 high ion strength in chloride, as in sea water.

17 LANGMUIR: I don't think you know that for sure. I  
18 think one could easily calculate that. Calculations have  
19 been made in fact of the evaporative effect of refluxion,  
20 and some pretty high ionic strengths and some high chlorides  
21 can be generated by it.

22 LEE: I believe corrosion by carbonate may be more  
23 important than chloride.

24 LANGMUIR: Bill Murphy from the Southwest Institute has  
25 made those kinds of calculations and come up with some

1 concentrations and solutions you might want to look at for  
2 these systems.

3 LEE: Okay.

4 LANGMUIR: John Cantlon.

5 CANTLON: You have in your last overhead indicated that  
6 you are going to look at some stress corrosion cracking in  
7 the next run on TSPA. As one visualizes the aging of this  
8 system and the weakening of the container as corrosion takes  
9 place, it would seem to me the stress corrosion is going to  
10 accelerate because you will have the weight of the backfill  
11 on the remaining thinning system. It would seem to me you  
12 are going to have to look at stress corrosion as an  
13 accelerating problem.

14 One of the questions that comes to mind is, how  
15 would the system look if you had fillers in the packages?  
16 You'd ease that container. You'd also do a lot of other  
17 good things in terms of protection in the mobility of the  
18 fuel.

19 It would seem to me very useful to have a filler  
20 model somewhere in your system on the next run.

21 LANGMUIR: Thank you, Joon.

22 A quick question from Carl Di Bella.

23 Di BELLA: I hope so.

24 Your work is showing, just as TSPA-93 showed, that  
25 the waste package can be a very important barrier, and

1 corrosion of the waste package is something that needs to be  
2 understood. What are the TSPA people going to tell Lawrence  
3 Livermore National Laboratory to do now as a result of these  
4 calculations? I realize maybe Abe might want to field that  
5 question.

6 VAN LUIK: I think actually Joon has been in a dialogue  
7 with these people and I think he would be the right one to  
8 answer it.

9 LEE: We had a meeting between the M&O waste package  
10 people and DOE people about prioritizing the testing  
11 program. We discussed that this is an important factor for  
12 the waste package performance model program.

13 Di BELLA: I know that their research program is very  
14 heavily aqueous corrosion oriented now, and you are showing  
15 corrosion as a function of relative humidity is also  
16 important. Do you think they will be changing their program  
17 or adding to it to do experiments at these moderate relative  
18 humidity points?

19 LEE: That is still very important. As I said in the  
20 assumption, we are using relative humidity between 85 to 95  
21 percent for switching from humid air corrosion to aqueous  
22 corrosion. I think we need to better define that transition  
23 of corrosion mode. I believe that humid air corrosion is  
24 important.

25 Di BELLA: Thank you.

1           VAN LUIK: Your point is well taken. In the dialogue  
2 that we are having with the Livermore folks we have had  
3 vehement discussions on where that transition point is and  
4 how they might go about giving us a better definition of it.  
5       So that dialogue is ongoing.

6           In the current scenario of how the program is  
7 proceeding it's difficult to predict what we will be able to  
8 do in the next few years, but we fully intend to go after  
9 these effects.

10          LANGMUIR: Thank you, Joon and Abe.

11                 We are a little over time here. Let's proceed  
12 with the next presentation. The speaker is Jerry McNeish.  
13 His topic is engineered barrier system release model and  
14 results.

15          McNEISH: Thank you.

16                 [Slide.]

17          McNEISH: Today I am going to present some of our  
18 analyses on the engineered barrier system releases. I would  
19 like to acknowledge several of my colleagues who have  
20 actually done a lot of this work that I will be presenting,  
21 Joon Lee, Joe Atkins and Dave Sassani.

22                 [Slide.]

23          McNEISH: As an outline of my presentation, first I  
24 want to talk about the objectives.

25                 Then I will briefly describe the nominal

engineered barrier system which we analyzed.

1  
2 I will talk a little bit about the waste form  
3 alteration/radionuclide mobilization abstractions which we  
4 developed.

5 Then I will spend a fair bit of time on the  
6 different EBS release conceptual models which we used.

7 And then move into the actual sensitivity  
8 analyses, our approach, and the results and conclusions of  
9 those sensitivity analyses of the EBS releases.

10 [Slide.]

11 McNEISH: The objectives of the analyses were to  
12 develop abstractions for radionuclide mobilization  
13 processes, including alteration and dissolution of the waste  
14 form, and also we developed abstractions for radionuclide  
15 solubilities to use in a sensitivity case.

16 The key was to evaluate the EBS release rate for  
17 various conceptual models, various designs, various  
18 parameters which are uncertain, and also conceptual models  
19 in the EBS which we have looked at.

20 From these EBS releases we will provide that  
21 information to personnel modeling the geosphere in order for  
22 them to be able to calculate the total system performance.  
23 Dave Sevougian will present the geosphere analysis in the  
24 next presentation.

25 [Slide.]

1           McNEISH: You've seen this diagram many times. Again,  
2 there are several columns: information or data; process  
3 level models; model abstractions; performance assessment  
4 models; and what are the performance measures that we looked  
5 at. Today I will be talking primarily about the waste form  
6 properties and how those feed into the EBS transport model,  
7 and then also I will spend a lot of time on the EBS  
8 transport model itself.

9           As you can see, there is a lot of information that  
10 comes into the EBS transport model, drift-scale fluxes, the  
11 drift-scale temperature, humidity and saturations, and also  
12 the waste package life time and degradation information.

13           The results that I will present are primarily peak  
14 EBS release rate. The information, as I said a minute ago,  
15 that I develop in the EBS transport model will feed into the  
16 geosphere calculations.

17           [Slide.]

18           McNEISH: This is a schematic of our nominal engineered  
19 barrier system. This is basically a slice through the  
20 drift.

21           Going from inside out, the waste itself was either  
22 spent fuel or high level waste glass. We track 39  
23 radionuclides in our inventory.

24           The container that we looked at. As Joon  
25 described, the inner barrier was a 2 centimeter corrosion

1 resistant material and the outer barrier was a 10 centimeter  
2 corrosion allowance material. We also had an invert of 1  
3 meter thick.

4 If backfill was included in the analyses, it would  
5 fill in this space here.

6 [Slide.]

7 McNEISH: The key processes which feed into the waste  
8 package and EBS release are shown in this diagram. You've  
9 already heard about quite a few of these things.

10 The thermal-hydrologic results which provided  
11 temperature, relative humidities and saturations both  
12 directly to the calculations which I did and also to the  
13 waste package degradation model.

14 We included a simple cladding model in our  
15 calculations.

16 I will spend a little bit more time on the waste  
17 form and alteration rate and how we developed those  
18 abstractions.

19 The information from that was combined with the  
20 radionuclide solubility check within RIP in order to  
21 calculate the concentrations for the releases.

22 We also had, as Srikanta described, a certain  
23 percentage of the waste packages with fracture flow or  
24 dripping fractures.

25 Diffusion coefficients came from the Conca

information. I will talk about that in a little bit.

1  
2 Also we had several different EBS conceptual  
3 models for release.

4 This all led to our calculations of a waste  
5 package and the EBS release both from diffusive processes  
6 and advective processes.

7 [Slide.]

8 McNEISH: I am going to try this two projector thing.

9 Basically, I want to talk a little bit about the  
10 waste form alteration/radionuclide mobilization aspects  
11 right now.

12 For spent fuel dissolution we basically took  
13 information from some experiments done by Steward and Gray  
14 to develop a functional form for the dissolution rate.

15 In this figure the dissolution rate is on this  
16 axis and temperature is on the x axis. The data points are  
17 shown in here, and then our model prediction. The  
18 uncertainty in that prediction is shown as well in the form  
19 of a few standard deviations away from our model fit.

20 [Slide.]

21 McNEISH: Similarly for the high level waste glass  
22 dissolution. In this case we took data from Bourcier and  
23 developed a functional form for the dissolution rate as a  
24 function of pH. You can see the data points in here, and  
25 then our model fits for different temperatures, 90 degrees



all the way down to 25 degrees C.

1                   For the calculations that I am going to show you  
2 today we just looked in the pH value of 7.

3                   [Slide.]

4                   McNEISH: In the base analyses that we did we used the  
5 radionuclide solubilities as elicited for TSPA-1993.

6                   For a sensitivity case three of the radionuclides  
7 were empirically fit to some of the data that is out there.

8                   I just want to show you one of the cases for the neptunium.

9                   You can see the actual data is shown here, and  
10 then for the pH of 7, which I'm going to talk about, a model  
11 fit is shown here, and the standard deviation of 1 to show  
12 the uncertainty in that model fit.

13                   [Slide.]

14                   McNEISH: Finally, the diffusion coefficient was  
15 developed based on data from Conca. We developed a model to  
16 fit the data and then incorporated into our analyses the  
17 uncertainty based on plus or minus 2 standard deviations.

18                   This shows you basically the diffusion coefficient  
19 as a function of the volumetric water content is really  
20 important in diffusion out of the waste package as well as  
21 through the invert.

22                   [Slide.]

23                   McNEISH: Another important topic is how the  
24 radionuclides actually release out of the EBS. I'm going to  
25

1 present three different conceptual model schematics to try  
2 to describe what we did for the different conceptual models.

3 [Slide.]

4 McNEISH: The first model assumes that we have both  
5 diffusive and advective release from the package as well as  
6 from the EBS. For the advective flow, as soon as we have a  
7 single pit which penetrates the package, we can have  
8 advective flow through the package if there is a dripping  
9 fracture above that package.

10 The diffusive release is proportional to the  
11 number of pits which have actually penetrated the package.  
12 That will change with time. You can see that we have  
13 diffusive release from the package and also advective  
14 release from the package, and then from the EBS we have both  
15 diffusive and advective release as well.

16 That is the first model.

17 [Slide.]

18 McNEISH: The second model, which is perhaps more  
19 realistic but will not allow probably as much release,  
20 assumes that we only have diffusive release from the package  
21 and then both advective and diffusive release from the EBS.

22 The waste package is assumed to develop corrosion  
23 product in the pits so that the advective or dripping water  
24 is not able to actually penetrate into the package and flows  
25 over the package so that we can have advective release from

1 the EBS but not from the package. Then we will have both  
2 advective and diffusive release from the EBS.

3 That is model two.

4 [Slide.]

5 McNEISH: The third model for release from the EBS  
6 assumes that we have very good designers and builders of  
7 capillary barriers which will last for a long time. In this  
8 case we have only diffusive release from the waste package,  
9 no advective release at all from the waste package, and all  
10 dripping water is assumed to be diverted around the drift  
11 and not come into contact with the waste package at all.  
12 That obviously is going to eliminate the advective release,  
13 which will reduce your EBS releases significantly.

14 [Slide.]

15 McNEISH: The approach that we took to evaluating the  
16 EBS release was to look at a variety of radionuclides, and  
17 I'm going to present information from three of those  
18 radionuclides today, carbon-14, which is assumed to have  
19 gaseous release out of the EBS, neptunium and technetium.  
20 Technetium is dissolution rate limited and neptunium is  
21 solubility limited.

22 Then I will talk about the variety of alternate  
23 conceptual models that we also looked at, different designs  
24 and different parametric situations.

25 For the infiltration sensitivity we looked at both

1 a high and low infiltration case.

2 For thermal load I looked at both 25 MTU and 83  
3 MTU per acre cases.

4 For cladding we put in a switch to say either the  
5 cladding survives or it doesn't survive in a certain  
6 percentage to provide some protection to the waste and thus  
7 reduce the releases.

8 For cathodic protection we implemented the model  
9 which Joon described wherein we had to have 75 percent  
10 reduction of the outer barrier before we ever started any  
11 penetration of the inner barrier.

12 For the EBS release models, I've just presented  
13 those various conceptual models, and we'll show the  
14 sensitivity of the releases there.

15 Then, finally, the thermal-hydrologic models. We  
16 will show both the 25 MTU case that we developed and also  
17 one of Tom Buscheck's comparable cases.

18 [Slide.]

19 McNEISH: It's important to bring this up, this NRC  
20 peak release rate, even though I didn't make direct  
21 comparisons to those rates.

22 The NRC regulations are that the peak release rate  
23 from the EBS following the containment period shall be less  
24 than one part in 100,000 per year of the 1,000 year  
25 inventory. This provides a basis for looking at peak

1 release rate even though we didn't do a direct compliance  
2 comparison with this requirement.

3 [Slide.]

4 McNEISH: I want to show some release rate histories  
5 for a particular case. This is for carbon-14 and shows a  
6 sensitivity to infiltration.

7 On this axis we have the total release from the  
8 EBS and then time is on the x axis. Carbon-14, as I said,  
9 provides for gaseous release from the EBS. So for low and  
10 high infiltration there is not much difference in the  
11 behavior.

12 The peak is a little bit higher for the high  
13 infiltration case than for the low infiltration, but  
14 basically they have similar behavior. These initial spikes  
15 are from gap fraction release as a waste package group  
16 fails.

17 [Slide.]

18 McNEISH: For technetium the predicted release rates  
19 for this 83 MTU per acre case with no backfill and low and  
20 high infiltration are shown here. Again, total release is  
21 on this axis and time down here.

22 The peak release from the high infiltration case  
23 is significantly higher, but the overall value at the end of  
24 the 10,000 year period is coming back together. So the  
25 influence after 10,000 years is not so great for a

1 radionuclide like technetium, which is dissolution rate  
2 limited.

3 LANGMUIR: Jerry, a quick clarification. On the  
4 previous one, carbon-14, is that assumed to be CO2 gas?

5 McNEISH: Yes.

6 [Slide.]

7 McNEISH: For neptunium we see a significant difference  
8 in the high infiltration and the low infiltration case. In  
9 fact the peaks are about three orders of magnitude  
10 difference, indicating the importance of determining what  
11 the flux is actually going through the repository.

12 [Slide.]

13 McNEISH: If we take those previous three slides and  
14 grab off the peak release rate, we can come up with the next  
15 slide combining each of the three different radionuclides on  
16 one chart showing the sensitivity to infiltration in this  
17 manner, with the peak release on this axis. This is a log  
18 scale.

19 For carbon-14, as we noted, the peaks were  
20 basically the same for high and low infiltration.

21 There is a significant difference for neptunium in  
22 the peak release rate for this case.

23 And there is a little over an order of magnitude  
24 difference in the technetium peak release rate.

25 This is for the 83 MTU per acre case with no

backfill and low and high infiltration.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

[Slide.]

McNEISH: If we look at another sensitivity to thermal load, the blue is the 25 MTU per acre case and the green is the 83 MTU per acre case; the same infiltration and no backfill.

You can see that basically the 83 MTU per acre case has higher peak releases. This is primarily due to the fact that you have more failures from the 83 MTU per acre case and higher dissolution rates because when the packages fail they are at higher temperatures.

[Slide.]

McNEISH: For the cladding failure sensitivity the blue case is a case where when the package failed the cladding was assumed to fail; the green case assumes that only 10 percent of the cladding failed once the outer container failed; the red indicates the case where you have only 1 percent of the cladding failing.

You can see there is a general trend decreasing. With neptunium the peaks are similar for the top two cases, primarily because they are solubility limited for that release.

The important thing to note here is that we did not include a process level model which gradually degrades the cladding over time. We had a switch that said it was

either there or not once the outer container failed.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

[Slide.]

McNEISH: For cathodic protection we show this effect.

Again we are looking at the 83 MTU per acre case with no backfill and high infiltration. The green bars have the cathodic protection implemented.

For cathodic protection, as Joon noted, you push out the time for that first failure. Also, what happens is you get a slight reduction in the peak primarily because of decay. When the packages fail at a later time carbon-14 has decayed away, almost an order of magnitude in half; and the others have decayed slightly as well.

The time for the peak releases for the green bars is not in the first 10,000 years. For carbon-14 it's 16,000 years and for the other two it's almost 40,000 years when that peak arrives because of the delay in the failure of the waste packages.

[Slide.]

McNEISH: Moving on to the EBS release model comparison. Again, we have peak release on this axis and the radionuclides down here. I would note that there are two log cycles between the labels on this axis.

I've talked basically about three conceptual models. They show up here. The first two have the first conceptual model, and this is the next conceptual model for



release, and this is the final conceptual model.

1           What is different in the first two cases which say  
2 no backfill and backfill is that those have different  
3 thermal-hydrologic information from the process level  
4 modeling.

5           Srikanta presented the fact that they did  
6 different thermal-hydrologic analyses either including  
7 backfill or not including it, and the temperatures and  
8 relative humidities were not that different. So those two  
9 cases have very similar results. With backfill you have a  
10 slightly reduced peak release, but it's not a great  
11 difference.

12           Those two models use the EBS release model which  
13 has diffusive release and advective release from the waste  
14 package and also from the EBS.

15           The next case, which is in red, has only diffusive  
16 release from the waste package and then advective and  
17 diffusive release from the EBS. You can see that reduces  
18 the peak for neptunium and technetium a little bit. As we  
19 have seen before, the carbon-14 releases are not affected.

20           The final case is the case which implements  
21 capillary barrier effect. It basically says you have no  
22 advective flow on the waste packages; it's all diverted  
23 around the drift. That buys us an awful lot, from six to  
24 nine orders of magnitude drop in the peak release. There  
25

1 again you've got to assume that you've got a design and  
2 implementation of that capillary barrier that lasts for the  
3 duration of this analysis for 10,000 years.

4 [Slide.]

5 McNEISH: The final result I want to present shows the  
6 difference in the conceptual model for the 25 MTU per acre  
7 case with no backfill and then a capillary barrier effect in  
8 blue versus the Tom Buscheck case, which is comparable, this  
9 24 MTU per acre case with no backfill and no infiltration.

10 You can see that there is not much difference in  
11 the gaseous release and there is some difference in the  
12 neptunium and technetium release, primarily due to the fact  
13 that in the Buscheck model we have fewer packages failing  
14 and less pitting in those packages, so the overall release  
15 is lower. Again, this is release from the EBS.

16 [Slide.]

17 McNEISH: Conclusions.

18 I have shown that the capillary barrier effect  
19 produces very large decrease in the EBS peak release, from  
20 six to nine orders of magnitude for the case that I have  
21 shown.

22 The second EBS conceptual release model, which has  
23 only diffusive release from the waste package and then  
24 advective and diffusive release from the EBS, produces also  
25 a decrease in the EBS release due to the fact that you have

1 to diffuse out of the waste package before you can reach the  
2 faster pathway of the advective release.

3 The alternate conceptual model also produced a  
4 decrease in the EBS peak release due primarily to the  
5 difference in the humidities and temperatures which were  
6 calculated in those models. The Buscheck model has a  
7 slightly different gridding and thermal characteristics than  
8 the 25 MTU per acre case which I presented.

9 Finally, the advective release component is very  
10 important in determining the overall total release from the  
11 EBS.

12 Thank you.

13 LANGMUIR: Thank you, Jerry.

14 I am going to start it with something that  
15 probably isn't in your area of expertise, but I think it's a  
16 very important point, and maybe it will get back to the  
17 researchers who are feeding you numbers for the TSPA.

18 I have a longstanding objection to using  
19 solubility limits on anything but uranium as a basis for  
20 defining a conservative concentration of radionuclides at  
21 the waste package. If you look at neptunium, it's a trace  
22 constituent in the fuel. To get to saturation you are  
23 talking about ten to the minus two, ten to the minus four  
24 moles per liter. That is as high as two or three grams a  
25 liter of neptunium in the water around the waste package.

1 I don't buy you can ever get there. I don't think  
2 there is enough neptunium around to do that. So I think you  
3 are shooting yourself in the foot in the program by buying  
4 into solubility controls on these trace constituents in the  
5 fuel. Sure they are hot, but they are hot at extremely low  
6 levels, and the levels ought to be controlled by things like  
7 adsorption near the waste package and not by saturation with  
8 anything.

9 I think we would be much better off, and we could  
10 defend it, if we chose instead of solubility limits --  
11 incidentally, Gray in some studies in the mid-1980s  
12 dissolved spent fuel and got neptunium concentrations in his  
13 wash waters from the solubility runs. I would suggest that  
14 those kinds of concentrations are more realistic than a  
15 saturation concentration. Or, knowing what you know about  
16 spent fuel, take it further down the pike in terms of time  
17 and then you can probably pretty well guesstimate the  
18 neptunium concentrations from the spent fuel you would get,  
19 and not saturation with oxides or hydroxides or anything  
20 else. They are probably many orders of magnitude less.

21 That was a speech instead of a question.

22 McNEISH: You are right. That is outside my expertise.

23 Dave, do you have any comment on that?

24 SASSANI: I agree with what you are saying. We need to  
25 do some more work in this area. The solubility limits that

1 get imposed are only imposed after the dissolution rate  
2 limits. So they are actually lower than the calculated  
3 dissolution rate limits on the neptunium.

4 The reason for that right now is the Steward and  
5 Gray dissolution rate model we have for the spent fuel is  
6 far from equilibrium dissolution rates. So they are  
7 relatively conservative compared against the steady-state  
8 dissolution rates for spent fuel. Those types of values for  
9 the trace constituents like neptunium are orders of  
10 magnitude lower.

11 In addition, the solubility limits, the range for  
12 neptunium that we are using are from over-saturation  
13 studies, steady-state concentration studies, which appear to  
14 be metastable equilibrium phase, which is also orders of  
15 magnitude more soluble than the stable equilibrium phase.  
16 So modeling studies may allow us to make that constraint and  
17 impose the lower solubility limits, which would also help.

18 LANGMUIR: I would certainly encourage that between now  
19 and the next TSPA. I think it's easy to do.

20 Pat Domenico.

21 DOMENICO: The advective release component is very  
22 important. I think that is the same as saying the rate of  
23 infiltration is very, very important in the sense that you  
24 don't take advection into account until you have dripping  
25 fractures.

1 McNEISH: Right.

2 DOMENICO: My question is, at this loading, 83 metric  
3 tons, what temperature is in the engineered barrier system  
4 that you use, because most of your parameters are  
5 temperature dependent?

6 McNEISH: I think the highest temperatures were 120 to  
7 130 degrees C.

8 DOMENICO: Some of that you don't have data for,  
9 though. I notice most of your curves go to 100.

10 McNEISH: Right. We don't start things until it drops  
11 below 100 degrees C.

12 DOMENICO: I forget, but I think 83 is a rather low  
13 thermal load compared to what people have been thinking  
14 about lately, is it not? The so-called high-high scenarios  
15 are up over 100. That's a point where you don't have any  
16 information at all in terms of the parameters that are  
17 temperature dependent, at least from the graphs I've seen.  
18 Is that going to be rectified somehow through experiments  
19 someplace, sometime, or aren't you going to start it until  
20 it kicks down to 100?

21 Did I make any sense?

22 VAN LUIK: Yes, you made perfectly good sense. If  
23 there is one of our engineering people in the room, maybe  
24 they could help me out. It's my impression that we are  
25 gravitating towards basically somewhere around 80 and

1 somewhere around 20 to bound the problem, and that the very  
2 high and the very low will probably not be addressed because  
3 we have to focus the program.

4 If we have any of our engineers here, maybe they  
5 can set me straight on that.

6 I think the tendency is to focus pretty much where  
7 the TSPA was focused.

8 DOMENICO: I see.

9 LANGMUIR: Leon Reiter.

10 REITER: I have two questions. I wonder if you could  
11 take those sensitivity charts and show us to what extent  
12 they support or do not support some of the assertions in the  
13 waste isolation strategy we heard yesterday. I'm not quite  
14 sure what the match-up is. I know they don't assume  
15 capillary barrier. Perhaps you could do that.

16 The second question is on infiltration rate. In  
17 TSPA-93 we saw that the critical thing, which was surprising  
18 but intuitively correct -- I think Ed pointed this out  
19 before -- was as you get more confining fractures less waste  
20 packages were being wet. To what extent is the sensitivity  
21 infiltration controlled by the assumptions about how many  
22 packages are being wet? If that's the case, sort of  
23 following up what Ed said, to what extent would knowledge we  
24 gained from underground enable us to limit that effect by  
25 pointing out where the fractures are actually?

McNEISH: That's a good point.

1  
2           On your second question, the number of packages  
3 which get wet in that high infiltration case is a little bit  
4 over 50 percent. If we were to find out that there were  
5 fewer fractures within the repository zone that would  
6 actually get wet, then you would reduce that and thus you  
7 would reduce the releases.

8           REITER: To what extent is that factor controlling the  
9 effect of infiltration?

10          McNEISH: It's very significant.

11          REITER: In the WEEPS model -- Mike can correct me if  
12 I'm wrong -- I think they assume like only a fraction of a  
13 percent of the packages got wet.

14          McNEISH: It's very significant. You kind of see that  
15 when you go from the initial conceptual model to the  
16 capillary barrier model. You see the reduction of the peak  
17 release caused by getting rid of the advective releases.

18          As far as your first questions goes, I don't know  
19 much about the waste isolation strategy. I really can't  
20 speak to that one.

21          ANDREWS: Let me try to answer you a little bit, Leon.

22          I'm going to start with the second one first, because I  
23 think there are some misconceptions about the fracture  
24 frequency and the frequency of flowing fractures that one  
25 might have.



1 Fracture frequency, at least from borehole  
2 observations, is quite high. You have a lot of fractures  
3 per ten square meters, if I look at an areal sort of term.  
4 So saying that you are going to limit the number of  
5 fractures that flow by or you think there is one fracture  
6 per kilometer or something like that, I think that is very  
7 unlikely.

8 Having said that, I would make a second  
9 observation that identifying flowing fractures even in  
10 saturated media, well characterized saturated media like  
11 STRIPA, like the Grimsel test site in Switzerland is  
12 extremely difficult. So you have fractures, but a very,  
13 very small percentage of them flow.

14 Identifying those and saying which ones might weep  
15 and which ones might not weep is an incredible stochastic  
16 issue that I don't think people have their hands around  
17 right now even in very well characterized systems, and those  
18 are very well characterized systems at the scale we are  
19 interested in.

20 That is your second question.

21 The first question. We looked at alternative  
22 backfills and alternative conceptualizations of flow, if you  
23 will, in the drift. We did not do explicit hydrologic  
24 modeling of that flow in the drift. We did  
25 thermal-hydrologic calculations, but we didn't say, okay, we

1 have this drip; how does that drip redistribute itself in  
2 the drift? We did not do that.

3 What Jerry showed, I think, is that if I have very  
4 favorable hydrologic characteristics in the drift I can  
5 divert that water and I don't have any advective release.  
6 The whole issue is advective versus diffusive releases from  
7 the EBS, and that's not a new issue either. Virtually every  
8 other international program relies on diffusive releases  
9 from their EBS to give them the performance that they get.  
10 Most with bentonite because most are in saturated systems,  
11 not unsaturated systems. Our behavior works differently in  
12 an unsaturated system, but it has the same net effect.

13 The other effect of in-drift backfill type  
14 materials is the thermal-hydrologic characteristics. There,  
15 as I think Srikanta pointed out, and you are going to hear  
16 some more calculations after lunch, we have two different  
17 conceptualizations of the characteristics of in-drift  
18 thermal-hydrologic properties. They have different results.

19 Those results have different effects. They can have a very  
20 positive effect, extremely positive effect, keeping the  
21 humidities low for extremely long periods of time.

22 In fact, the higher thermal loads, as I think  
23 Srikanta showed you from the results from Tom Buscheck, keep  
24 you below our magical 70 percent relative humidity cutoff  
25 for tens of thousands of years and for some packages

1 hundreds of thousands of years. When I combine that with  
2 certain corrosion degradation a lot of packages don't fail,  
3 and in fact most packages don't fail for the first 100,000  
4 years.

5 So it can have a very positive effect on the  
6 in-drift thermal-hydrologic regime which then controls a lot  
7 of other processes.

8 Do we know which is the correct thermal-hydrologic  
9 representation? Heck no. Will we know? I think the  
10 strategy identified that as a key need and this afternoon  
11 I'm going to identify it as a key need. I don't think we  
12 have the answer right now, but it can have a very positive  
13 effect.

14 LANGMUIR: Jared Cohen.

15 COHON: I am concerned, I think, about the exclusive  
16 focus on peak release. I certainly recognize that the  
17 results that you generate are much more than just the peak  
18 release. You show a complete release history or projection.

19 But all of the model sensitivities are geared to peak  
20 release. Yet if the thing that is going to be driving the  
21 design and study here is peak risk, one certainly will be  
22 interested in more than just peak release.

23 Could you address this, someone? You are  
24 certainly supporting the risk part of this with the results  
25 that you generated, but in determining the sensitivity of

1 your models you are focused entirely on peak release,  
2 whereas if I really cared about risk and that was driving  
3 me, I would want to be very careful about sensitivities of  
4 the model in terms of the total release.

5 McNEISH: That's right. Dave will present results that  
6 show the doses. These were sort of intermediate results to  
7 see what's happening at the EBS interface with the  
8 geosphere.

9 COHON: I understand. But you get my point about  
10 focusing a model sensitivity only in terms of peak release  
11 rather than total release, that you could find yourself not  
12 very happy about having done that.

13 McNEISH: Yes.

14 ANDREWS: One of the things we looked at and we are not  
15 going to show, by the way, for brevity of time, is  
16 correlation of the different performance measures. In a way  
17 what you are asking is, is there any relationship between  
18 this peak EBS release and anything that relates to long-term  
19 post-closure total system performance like dose or risk? In  
20 fact the correlation is very poor.

21 LANGMUIR: But you were doing what you were asked to do  
22 basically a year or so ago before the NAS came out with some  
23 new ideas. Am I right in that?

24 ANDREWS: I think we always want to look at what does a  
25 subsystem performance measure, if you will, and what we

1 heard this morning is two subsystem performance measures,  
2 one related to the package and one related to the EBS. What  
3 correlation do they have to the total system performance?  
4 That's a very important issue, of course.

5 LANGMUIR: We are five minutes beyond our allotted time  
6 for discussion here. I would like to adjourn for lunch and  
7 bring us back in about an hour. We are due to reconvene at  
8 12:30.

9 [Whereupon, at 11:35 a.m., the meeting was  
10 recessed, to reconvene at 12:30 p.m., this same day.]  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

## AFTERNOON SESSION

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

[12:35 p.m.]

LANGMUIR: Our first presentation this afternoon is geosphere transport and release/dose. The speaker is David Sevougian of INTERA.

[Slide.]

SEVOUGIAN: Good afternoon. I see I luckily have the prime time of this afternoon, right after lunch. So everybody will be asleep and won't notice any mistakes. This afternoon, I'm going to primarily talk about predicted radionuclide release and dose at the accessible environment for TSPA-1995, and this is the five kilometer fence boundary that we've been talking about.

[Slide.]

SEVOUGIAN: Before I get to the release and dose, I'm going to talk about the models, the TSPA conceptual models for unsaturated zone and saturated zone transport. And then I'll get to the releases and doses, predicted results, and I'll wrap up with a comparison of subsystem performance. So this will be EBS versus natural barrier performance.

[Slide.]

SEVOUGIAN: And where this fits in the overall scheme of things. I think this is the last time you get to see the road map here. Sorry. So I'll be talking about the transport models. Every other model feeds into the

1 transport models. And then I'll talk about the releases at  
2 the accessible environment and briefly about the flux, the  
3 advective flux, since we have to have advection to have  
4 transport of nuclides. So given we need flux of the water,  
5 at least for advective transport.

6 [Slide.]

7 SEVOUGIAN: This is the unsaturated zone aqueous  
8 transport model and we use the RIP model by Golder. It's  
9 the stochastic model, where we do many realizations of the  
10 some 270 stochastic variables that are uncertain. The first  
11 thing I'll talk about is the geometry of the pathways and  
12 then about the dual-continua fracture/matrix representation,  
13 and then the two parts of that, how much mass is traveling  
14 in each continuum and how fast.

15 [Slide.]

16 SEVOUGIAN: So the first part is the geometry. We  
17 represent in the TSPA model the pathway geometry as a series  
18 in one-dimension. So it represents three-dimensional flow.

19 It's a series of parallel 1-D pathways that are connected  
20 and each pathway represents one hydro-geologic unit. I have  
21 a little picture here of the geometry.

22 [Slide.]

23 SEVOUGIAN: So at the top, we have the repository  
24 horizon and depending on the thermal load, we divide it up  
25 into either six or ten columns, six for the high thermal

1 load. So the percolation flux goes through the waste  
2 packages, then down through the unsaturated zone horizon,  
3 through the saturated zone to a hypothetical water well that  
4 penetrates the aquifer. And each unsaturated zone pathway  
5 has a dual-continua representation.

6 [Slide.]

7 SEVOUGIAN: Now, the next part has been talked about  
8 earlier this morning. This is the process level  
9 abstractions that feed the transport models. And there was  
10 two parts, the fracture flow fraction or how much was going  
11 through each continuum and then how fast. And I'll just  
12 show these briefly because Srikanta talked about them  
13 earlier.

14 [Slide.]

15 SEVOUGIAN: If you recall, there was a series of  
16 process level simulations that were done to determine, over  
17 a range of hydrologic parameters, conceptual models for  
18 fracture flow initiation, determine the minimum and maximum  
19 fracture flow fraction. And then in the actual rolled-up  
20 TSPA model, when we sample the infiltration rate off the  
21 distribution, we come in and sample uniformly between these  
22 two curves and come up with a flow fraction for each  
23 hydro-geologic unit.

24 Here it's the Calico Hills zeolitic unit. And  
25 there's a similar abstraction for the velocity. That was



for the fracture flow fraction.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

[Slide.]

SEVOUGIAN: This is for the matrix velocity field, a similar abstraction. Okay. That's the process level feeds into the transport model.

[Slide.]

SEVOUGIAN: Now, there are a couple of other pieces to it that are directly incorporated in the transport model, in the TSPA model itself. One is fracture connectivity. And there's two types, intra-unit and inter-unit. So between hydro-geologic units, fractures from one unit don't connect directly -- well, they connect directly, but only a part of the mass goes directly into the fractures of the next unit.

So at a unit boundary, there is some dispersion. And intra-unit, within a unit, the model has a Markovian process that determines how much time particles spend in the fractures and the matrix.

[Slide.]

SEVOUGIAN: And a little schematic here. There's this transition parameter  $\lambda$  that's the rate at which particles transition between fractures and matrix. We looked at three cases, one where the particles spend relatively more time in the matrix, so they'll be slowed down compared to where they spend, most of the time in the fractures. So this is the average path length within a

1 fracture in a particular unit. So here there's hardly any  
2 particles whatsoever that go into the matrix.

3 This case is kind of a default case that I'll show  
4 for most of the runs.

5 [Slide.]

6 SEVOUGIAN: And the other piece is related to how fast.  
7 This is retardation. There's a chemical and physical  
8 retardation of the fracture/matrix velocities.

9 [Slide.]

10 SEVOUGIAN: Chemical retardation within the matrix for  
11 radionuclides such as neptunium would be the most important  
12 one. These are based on experiments at LANL on whole rock  
13 tuff samples. And because it covers a wide range of  
14 effects, such as ion exchange, sorption, hopefully not  
15 precipitation, but possibly, they're developed as stochastic  
16 distributions to feed into the TSPA model.

17 And for some sensitivity cases, we looked at  
18 physical retardation in the fractures in the form of  
19 equilibrium matrix diffusion of the particles from the  
20 fracture to the matrix. This effect can slow down both  
21 sorbing and non-sorbing nuclides, but has a greater effect  
22 on the sorbing radionuclides.

23 That was the unsaturated zone. Let me change to  
24 another part which isn't really on this diagram, but it's  
25 way up at the surface.

[Slide.]

1 SEVOUGIAN: The infiltration and the climate change  
2 model which will effect the percolation at the repository  
3 horizon. We've talked about the two scenarios already for  
4 infiltration flux, a high and a low scenario and the range  
5 of 0.5 to 2.0 millimeters a year and 0.01 to 0.05  
6 millimeters a year. Now, that's the infiltration flux at  
7 closure, the initial value.

8 So superimposed on that out to 1 million years is  
9 the triangular wave, with a period of 100,000 years, a peak  
10 at 50,000 years. The peak infiltration is some multiples  
11 uniformly sampled between one and five of the initial  
12 infiltration. So, for example, if we sampled five, then we  
13 could go up to a maximum of 10.0 or 0.25 for these two  
14 scenarios.

15 All the examples I'll show later have this climate  
16 change variation of  $Q_{inf}$  infiltration rate included in them.

17 A few sensitivity cases, which I'm not going to show today.

18 We ran a simultaneous water table rise with the same period  
19 and uniformly sampled between 20 and 80 meters. It tends to  
20 increase the doses somewhat.

21 [Slide.]

22 SEVOUGIAN: Next, move down to the saturated zone here.

23 Five kilometers from the base of the repository to the  
24 water well. Here, we used a composite permeability and flux  
25

1 model. So we averaged the fractures and matrix flow using  
2 the distribution that was developed for TSPA-1993 of two  
3 meters per year, a mean of two meters per year. The  
4 accessible environment boundary was five kilometers from all  
5 the UZ columns. We used  $K_d$ 's, slightly different than  
6 unsaturated zone  $K_d$ 's.

7 Since it was 1-D, there was longitudinal  
8 dispersion, but no lateral dispersion, which, if we had  
9 included it, could reduce the doses by a factor of 10, 100.

10 It depends on where you're looking at the releases, at what  
11 point you're looking at the doses.

12 LANGMUIR: David, can you do us a favor? Back on  
13 overhead 12, some folks don't know what  $K_d$  is and it might  
14 be constructive to just take a minute and define it, since  
15 it's critical. It's your overhead 12, which has the  
16 equation. You've got some terms in the equation. That  
17 might be the easiest way to go at it.

18 SEVOUGIAN: The equation doesn't really define  $K_d$ . But  
19 the  $K_d$  is the ratio of the amount of mass sorbed on the rock  
20 matrix over the amount of mass in the pore water. This is a  
21 retardation factor. So when  $K_d$  is zero, there is no mass  
22 sorbed on the rock matrix. The velocity gets divided by  
23 this factor. So when  $K_d$  is zero, this factor is one. The  
24 radionuclides are unretarded. When  $K_d$  is greater than one,  
25 then this factor is some number greater than one, and the

1 radionuclides are retarded by this factor. Velocity is  
2 retarded or slowed down compared to non-sorbing  
3 radionuclides.

4 Does that give you a better idea?

5 LANGMUIR: For the moment, I guess, yes.

6 SEVOUGIAN: For the moment. Maybe I better keep it  
7 out.

8 LANGMUIR: No, no, no. It's all the way through your  
9 analysis. So yes, right, keep it out.

10 [Slide.]

11 SEVOUGIAN: Okay. Next, I want to talk about the  
12 biosphere model a little bit, just briefly, and put the  
13 human into the equation here. This is the maximally exposed  
14 individual who is drinking two liters a day. That's what we  
15 modeled. We used the EPA 1988 dose conversion factors for  
16 ingestion only, assuming he was drinking two liters a day at  
17 the accessible environment.

18 And as far as the dilution, the volumetric flow in  
19 the saturated zone was assumed to be repository width times  
20 a 50-meter well depth from which he was withdrawing the  
21 water times the saturated zone velocity, which is stochastic  
22 distribution. It's different in every realization.

23 [Slide.]

24 SEVOUGIAN: Now I want to switch gears again and go to  
25 the results. All of them are at the accessible environment.

1 We'll be looking at, first, 10,000-year performance, the  
2 short time frame we can predict real well, and then 1  
3 million-year performance. And then mainly I'll be looking  
4 at sensitivity analyses, three types; one for alternative  
5 conceptual models for the geosphere, such as fracture/matrix  
6 interaction.

7 For the near-field environment, this will be  
8 mainly different thermo-hydrologic models for the effect of  
9 heat and then alternative repository designs, such as the  
10 capillary barrier.

11 [Slide.]

12 SEVOUGIAN: And you should keep in mind that the  
13 sensitivity analyses should look at the relative magnitudes,  
14 maybe more than the average magnitudes, and these can act as  
15 a guide to show us what the most important effects are, like  
16 John Kessler was talking about yesterday -- dilution in the  
17 saturated zone.

18 [Slide.]

19 SEVOUGIAN: So let me just mention the performance  
20 measures at 10,000 years. First, you'll see one plot to the  
21 normalized Table 1 limits, cumulative release. The other  
22 ones will be CCDF of total peak dose to the maximally  
23 exposed individual over the range of the stochastic  
24 variables. And the last one will be expected value dose  
25 histories or breakthrough curves that give the dose history  
at every year during the time period for 10,000 years.

1 Technetium, iodine and carbon are the most important ones.

2 [Slide.]

3 SEVOUGIAN: Here's the sensitivity analyses. They're  
4 pretty similar to what Jerry showed earlier. First is high  
5 versus low infiltration rate or, equivalently, percolation  
6 rate through the unsaturated zone.

7 Next is the thermal loading, high versus low.  
8 Then there's the alternative thermo-hydrologic model. This  
9 is the Buscheck model versus the one we had used to begin  
10 with. Fracture/matrix interaction. Waste package  
11 degradation. Here, I'll be mainly concerned about cathodic  
12 protection. And then backfill.

13 Now, for the 10,000 years, actually you're not  
14 going to see as many graphs on these sensitivity analyses as  
15 for 1 million years, and the reason is because there were no  
16 releases for a number of cases at 10,000 years. Nothing at  
17 all coming out to the accessible environment.

18 [Slide.]

19 SEVOUGIAN: Here are the zero release cases. At the  
20 accessible environment, there were no releases whatsoever  
21 for low infiltration, at least for the range we picked  
22 there, for any of the examples. There were no releases for  
23 the Buscheck high thermal loading case because of his low  
24 relative humidity and high temperature curves.

25 There were no releases if you assumed equilibrium

1 matrix diffusion in the unsaturated zone. And there were no  
2 releases for cathodic protection of the waste packages at  
3 10,000 years.

4 Now, some of these get at what Leon was asking  
5 earlier about the waste isolation strategy. For example,  
6 the first one is seepage rate. If I can remember what all  
7 the parts of the strategy were, it also gets at the waste  
8 mobilization through the interaction with the source term  
9 and the flow. The transport and the engineered barriers,  
10 this thermo-hydrologic model gets at that. Also, the  
11 backfill. I'll talk about the other ones later.

12 That boils us down to three cases.

13 [Slide.]

14 SEVOUGIAN: This is the cumulative release CCDF that I  
15 promised to show, the one and only one here. So here's the  
16 normalized cumulative release relative to the Table 1  
17 values. This is the probability of exceeding any of these  
18 values. So if you look at the median case, for example, at  
19 50 percent, there's a 50 percent chance of exceeding 10 to  
20 the minus 3 of the limits.

21 So the thing I wanted to point out here is that at  
22 least for this thermo-hydrologic model, there's not a whole  
23 lot of difference in the total releases for the two thermal  
24 loading cases.

25 [Slide.]



1 SEVOUGIAN: As far as CCDF of peak dose goes, the high  
2 thermal load has a slightly higher peak dose over the range  
3 of the stochastic variables. For example, the median values  
4 is about a few tenths of a millirem. And, again, the reason  
5 the high thermal load has a higher dose, slightly higher, is  
6 due to higher degradation of the packages and a higher  
7 dissolution rate.

8 [Slide.]

9 SEVOUGIAN: I just want to show a breakthrough curve  
10 briefly so you can see the most important radionuclides.  
11 For the high thermal loading -- and this is similar. The  
12 same nuclides for the low thermal loading, pretty much.  
13 Technetium and iodine have about the same dose. Then  
14 carbon-14, chlorine, and neptunium. I'm going to come back  
15 to this plot in a little bit when I talk about capillary  
16 barriers.

17 COHON: When you say dosage, you really mean  
18 concentration at the limited accessible environment.

19 SEVOUGIAN: Yes. It's concentration multiplied by the  
20 dose conversion factor.

21 COHON: It is converted into a --

22 SEVOUGIAN: Yes. This is rems per year. I guess I  
23 didn't say that. So this is a dose. It was converted from  
24 grams per year.

25 COHON: So it builds in the assumptions about ingestion

and exposure.

1 SEVOUGIAN: Yes, right.

2 COHON: Okay.

3 [Slide.]

4 SEVOUGIAN: The next sensitivity analysis at 10,000  
5 years was intra-unit fracture connectivity. If you  
6 remember, that was this picture here where we had, for this  
7 value of lambda, more flow in the matrix, more transport in  
8 the matrix, and, this one, much more in the fractures.

9 If we look at a CCDF, at least at 10,000 years,  
10 this particular conceptual model has a large effect.  
11 There's enough unsaturated zone to delay the radionuclides  
12 significantly if they spend most of the time in the matrix  
13 as they do on this blue curve. So there's about a four  
14 order magnitude difference here between this curve and the  
15 nominal case here.

16 LANGMUIR: Are those dilution numbers simply that  
17 concentration in a liter or in 100 liters or 0.1 liters? Is  
18 that what that means?

19 SEVOUGIAN: The dilution?

20 LANGMUIR: Yes. Is that what that is?

21 SEVOUGIAN: This is rem, again, dose at the accessible  
22 environment, rems per year.

23 LANGMUIR: No, the fractions up on the figure.

24 SEVOUGIAN: These fractions?  
25

LANGMUIR: Yes.

1

SEVOUGIAN: This, this, this and this?

2

LANGMUIR: Yes.

3

SEVOUGIAN: This the average length that a particle  
4 travels in a fracture before it goes to the matrix. It's  
5 like a fracture connectivity. It travels a tenth of the  
6 unit thickness. It's like the thickness of, let's say, the  
7 Topopah Springs and then it goes from fracture to matrix.  
8 That's on average. It's a stochastic model.

9

10 So here, on average, a particle will go the whole  
11 length of the Topopah Springs before it goes to the matrix.

11

12 So for these two cases, we have predominantly fracture  
13 flow.

13

[Slide.]

14

SEVOUGIAN: Okay. The last thing at 10,000 years is  
15 the backfill. As I said, I wanted to throw up this  
16 breakthrough curve again. I don't know if we mentioned this  
17 earlier or not, but we modeled iodine, chlorine and carbon  
18 as gas phase radionuclides in the sense that when they come  
19 out of the waste package, they come out in gaseous form and  
20 are transported across the EBS to the geosphere in gaseous  
21 form.

22

23 And the two aqueous ones on here are technetium,  
24 which is an unretarded, non-sorbing, and neptunium. So if  
25 we look at the effect of capillary barrier, this is assuming

25

1 somebody can construct this, the first two curves -- this  
2 is, again, rems per year. This is dose at the accessible  
3 environment to the maximally exposed individual.

4 And the two curves on the right represent no  
5 backfill or a gravel backfill, and the only difference  
6 between them is the relative humidity/temperature histories  
7 that were developed from the thermo-hydrologic model in the  
8 near field. Since those histories were not very different,  
9 the curves, the results are not very  
10 different.

11 Now, we put a capillary barrier in which  
12 intercepts all drips, all advective flow onto the packages.

13 That prevents technetium -- these two curves are due to  
14 technetium and iodine. It prevents technetium from getting  
15 to the accessible environment. So that the curve drops by a  
16 factor of two because these two provide the same dose.

17 It seems quite possible, because of the high  
18 reactivity of iodine gas and chlorine gas, that they  
19 wouldn't make it all the way across the EBS without going  
20 into the aqueous phase.

21 LANGMUIR: Is this flying iodine we heard about  
22 yesterday?

23 SEVOUGIAN: What?

24 LANGMUIR: Is this the flying iodine we heard about the  
25 other day?

SEVOUGIAN: Flying iodine?

1

LANGMUIR: Yes.

2

SEVOUGIAN: Yes. This is the iodine that goes its merry way across the EBS. But if we stop it from flying, we shoot it down or whatever. We don't shoot down the carbon, though. We shoot down the iodine with chlorine. We get about an order of magnitude reduction in the peak dose at the accessible environment. Actually, if we weren't worried about carbon -- see, what we did in this TSPA is we conservatively assumed that instead of the carbon going straight to the atmosphere, it went to the geosphere and was dissolved into the aqueous phase.

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

So if it went to the atmosphere, then we wouldn't even be worried about this and we'd have only diffusive releases out of the packages and you'd be way off here. It's about 10 to the minus 9 or so.

26

27

28

29

30

31

32

33

34

35

36

37

38

39

40

41

42

43

44

45

46

47

48

49

50

REITER: You'd have a lot larger release.

SEVOUGIAN: Larger release? I'm not following you there.

COHON: If carbon went directly to the atmosphere, you'd have a larger release.

SEVOUGIAN: Yes. But the NAS report saves us from carbon, right? I mean, it's diluted so much that it doesn't really matter.

[Slide.]

1 SEVOUGIAN: Okay. Switch to 1 million years. Look at  
2 CCDFs of total peak dose. Look at some more dose histories  
3 and, finally, I'll show some linear regression statistics.  
4 We're trying to do curve fitting to the results to see which  
5 model parameters are most important.

6 [Slide.]

7 SEVOUGIAN: Sensitivity analyses. Same as 10,000  
8 years, but I'm going to show them all for 1 million years  
9 because we had some releases at 1 million years for all  
10 cases. The first is infiltration rate.

11 [Slide.]

12 SEVOUGIAN: Comparison of, for technetium, the  
13 breakthrough curve for high versus low infiltration. Over 1  
14 million years, this is the dose exposure at the accessible  
15 environment. For high infiltration, you get a sharp high  
16 peak that comes out early. For very low infiltration, past  
17 the packages through the unsaturated zone, it's too low to  
18 dissolve all the source term into it. So you get it spread  
19 out much more and much lower.

20 [Slide.]

21 SEVOUGIAN: For neptunium, for sorbing radionuclides,  
22 the effect is even stronger. And if you're at 0.03  
23 millimeters a year, then no neptunium essentially comes out.

24 [Slide.]

25 SEVOUGIAN: The next case is a combination of

1 infiltration rate and repository loading. I'm going to show  
2 a couple of CCDFs here over the entire range of the  
3 stochastic variables. The curves on the right are for the  
4 high infiltration rate case, over the entire range of that  
5 infiltration rate case. In fact, these points out here are  
6 for the high end of the range. These are for the low end,  
7 in general.

8 Then for each pair, the curve on the right is for  
9 the high thermal loading. The thing to take away here is,  
10 again, at least for this thermo-hydrologic model, there  
11 wasn't a whole lot of difference in the effective thermal  
12 loading. But as with the breakthrough curves, there was a  
13 great difference for these particular ranges of percolation  
14 rate through the repository.

15 [Slide.]

16 SEVOUGIAN: Next is a combination of numbers 1 and 3,  
17 the infiltration rate and the thermo-hydrologic model. If  
18 you remember from earlier, Srikanta's talk, the relative  
19 humidity and temperature predictions, there was quite a  
20 large difference in the relative humidity between the  
21 Buscheck model and the model that we had used. Buscheck's  
22 model is much lower. The corrosion initiation starts much  
23 later.

24 However, over 1 million years, it ends up not  
25 having as large an effect as you'd think. Everything kind

1 of tends to go out in the wash in 1 million years. So this  
2 is similar to the last one. Low infiltration, high  
3 infiltration or percolation. For each pair, on the left is  
4 the Buscheck model, slightly lower doses. But it's really  
5 only about a factor of 3 difference between these two  
6 thermo-hydrologic models, even though there was a large  
7 difference in the early time temperature/relative humidity  
8 histories.

9 [Slide.]

10 SEVOUGIAN: Fracture/matrix interaction, show one plot  
11 on that. As far as this connectivity parameter, when  
12 particles spend more of the time in the matrix, and as the  
13 blue curve indicates, then you get quite a bit delay, 80,000  
14 years, in the initial release to the accessible environment.

15 But you see that you don't end up with much of a difference  
16 in the peak dose, which is the important thing.

17 [Slide.]

18 SEVOUGIAN: Matrix diffusion, the next one. This has a  
19 similar effect to the intra-unit fracture connectivity.  
20 When you have matrix diffusion from the fractures to the  
21 matrix, you get about a 150,000-year delay in the initial  
22 release to the accessible environment. But, again, the  
23 peaks over 1 million years are about the same and that's  
24 borne out -- if you look at CCDFs for these two fracture  
25 interaction examples over the entire range, there's very



1 little difference for either the connectivity parameter or  
2 the matrix diffusion parameter.

3 [Slide.]

4 SEVOUGIAN: Waste package degradation. As you recall,  
5 cathodic protection at 10,000 years had a very large effect.

6 There were no releases whatsoever at 10,000 years. At 1  
7 million years, it tends to die away. The effect isn't very  
8 important, as you can see here by the blue curve. This is  
9 the doses with cathodic protection.

10 [Slide.]

11 SEVOUGIAN: And the last one is backfill. Although  
12 cathodic protection had less of an effect at 1 million years  
13 compared to 10,000 years, it's kind of the opposite case  
14 with the capillary barrier because of neptunium. So the  
15 capillary barrier kind of looks like it has more of an  
16 effect at 1 million years.

17 You have no capillary barrier. Neptunium is the  
18 main contributor to the dose. And when you institute this  
19 capillary barrier, which still allows the flying iodines,  
20 you get about an order of magnitude or so reduction. If you  
21 assume iodine and chlorine dissolve in the aqueous phase in  
22 the EBS, it looks like about close to a four order of  
23 magnitude reduction.

24 Again, if carbon-14 were not important, then the  
25 diffusive releases even over 1 million years are way off the

page here.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

[Slide.]

SEVOUGIAN: Let me go to the last part of the results, which was trying to look at sensitivity of the model parameters. I'll show some scatter plots, over 100 realizations of total peak dose versus various model parameters, to look for linear trends, and, also, step-wise linear regression which looks for the most important groups of variables.

[Slide.]

SEVOUGIAN: Let me just show my picture again here. The first thing is a plot of peak dose over 100 realizations versus the saturated zone velocity. So that would be the velocity here. This will be the effect of dilution. This is at the high percolation range and this is at the low percolation range, past the packages. So there's a strong linear trend, more so at the low infiltration because dilution is stronger there. That's the most important parameter over 1 million years, and John Kessler brought that out very well yesterday.

[Slide.]

SEVOUGIAN: The next most important parameter doesn't show much of a trend, at least here. This would be the percolation flux through the unsaturated zone. It shows somewhat of a trend here at the high infiltration, none at

1 the low. However, these are pretty narrow ranges. If you  
2 look at the whole range, then actually it becomes a more  
3 important parameter, which we have found in TSPA-1993 that  
4 it was very important.

5 [Slide.]

6 SEVOUGIAN: Here is the plot over the entire range from  
7 0.01 to 2.0 millimeters a year for the unsaturated zone  
8 flux. You have a transition here from iodine or technetium  
9 to neptunium being the most important radionuclide.

10 [Slide.]

11 SEVOUGIAN: Now, if we look at groups of variables,  
12 that's the next couple of slides. We did a couple of curve  
13 fits. You see two columns here. There's a curve fit of --  
14 the first one is the log of the performance measure. That's  
15 a plot of peak dose plotted against parameter. So, for  
16 example, the saturated zone flux.

17 [Slide.]

18 SEVOUGIAN: And then here is a log-log curve fit of  
19 peak dose versus saturated zone velocity. The best fit is  
20 the log-log and you see that the saturated zone velocity  
21 explains 48 percent of the variability of the CCDFs.

22 When combined with the infiltration rate or the  
23 percolation in the unsaturated zone, the two together  
24 explain 65 percent of the variance. This is at the high  
25 infiltration rate range.

[Slide.]

1 SEVOUGIAN: If we go to the low range, the saturated  
2 zone velocity explains even more because dilution is more  
3 important. It explains 89 percent of the variance.  
4

[Slide.]

5 SEVOUGIAN: And if we look, finally, at the entire  
6 range, we switch from saturated zone velocity or dilution to  
7 being number one to the percolation rate through the  
8 repository horizon, through the entire unsaturated zone  
9 explains 50 percent. Then combined with saturated zone  
10 velocity, 74 percent.  
11

12 So these are the parameters that, if we get a  
13 better handle on, we can get a better idea of how the  
14 repository is performing.

15 LANGMUIR: Could you help me out? I'm just a  
16 geochemist. So some of this hydrology is unfamiliar to me.

17 But would you please explain how, in filtration rate and  
18 saturated zone flux -- okay. Saturated zone flux is in the  
19 saturated zone below the unsaturated.

20 SEVOUGIAN: Yes.

21 LANGMUIR: So the infiltration rate is in the unsat  
22 zone.

23 SEVOUGIAN: Yes. The infiltration is through here.

24 LANGMUIR: Okay. So one rate is the rate of  
25 infiltration down to the saturated zone and the other one is

the flux in the saturated zone. Right?

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

SEVOUGIAN: Yes, right.

LANGMUIR: It doesn't, in fact, define, dilution, does it? It's the quantity of fluid.

SEVOUGIAN: The ratio between them defines the dilution. So it's like how much -- you've got a little stream of water going into a big stream of water.

LANGMUIR: Right.

SEVOUGIAN: So the bigger the stream is.

LANGMUIR: And that's incorporated in the calculation. This dilution effect is part of what you're talking about. What are the rough proportions of infiltration volumes to groundwater? What kind of proportions are we talking about here?

SEVOUGIAN: On the order of maybe 10 to the 4th to 10 to the 6th. Maybe 10 to the 5th, let's say.

LANGMUIR: Okay. So that's the dilution immediately when you get down from unsat to sat.

SEVOUGIAN: Right.

LANGMUIR: Okay.

SEVOUGIAN: It depends on the values you use for the flux. Right.

DOMENICO: That's 10 to the minus 8, probably.

SEVOUGIAN: Well, no.

LANGMUIR: Is that included in your model?

1 SEVOUGIAN: You're sampling -- I mean, you drill a well  
2 and you just -- it depends on how much of the plume you  
3 sample. If the plume is real narrow and you --

4 DOMENICO: At the well, it's 10 to the minus 4. Is  
5 that what you're saying? At the well, it's a dilution  
6 factor of 10 to the minus 4, more or less, 10 to the minus  
7 5.

8 SEVOUGIAN: You sample the concentration. It depends  
9 on how the plume is -- if the plume extends all the way past  
10 the perforation data, you just get the concentration that's  
11 in the plume. If the plume is real narrow, the well extends  
12 beyond it and you get the dilution ratio of the thickness of  
13 the plume to the well depth.

14 DOMENICO: But your dilution volume is the  
15 cross-sectional area of the repository times the 50-meter  
16 well depth times the flux.

17 SEVOUGIAN: That's what we assume for the dilution  
18 model.

19 DOMENICO: That would be a dilution volume.

20 SEVOUGIAN: That's what we assume for the dilution  
21 model.

22 LANGMUIR: Do you ignore any further dilution and  
23 dispersion beyond the mixing zone under the repository or do  
24 you simply assume you've got a packet of water mixed that  
25 goes undiluted further, without any further dilution all the

way to the accessible environment?

1 SEVOUGIAN: It's diluted a little bit by longitudinal  
2 dispersion. We don't have any lateral.

3 LANGMUIR: You don't include any of that.

4 DOMENICO: That's probably a second order effect.

5 SEVOUGIAN: Yes.

6 DOMENICO: Compared to dilution.

7 SEVOUGIAN: Yes.

8 LANGMUIR: Excuse us. This is useful, though.

9 [Slide.]

10 SEVOUGIAN: The last slide is about subsystem  
11 performance. Here we want to look at the performance of  
12 doses at the EBS, which would be right up here, versus doses  
13 at base of the vitric here below the repository here and  
14 then versus doses at the base of the unsaturated zone versus  
15 doses at the -- actually, sorry, it's releases -- at the  
16 accessible environment.

17 So these are cumulative releases of neptunium at  
18 the accessible environment in curies and this is at  
19 different times. So what you see is at 10,000 years, the  
20 unsaturated zone below the base of the vitric here, that is  
21 the Calico Hills unit, has a large effect just because of  
22 the length of the flow path.

23 However, by the time you get to a 1 million years,  
24 most of the neptunium has come out through the whole natural  
25

1 system and there's only a difference of about 1.5 here  
2 between what's come out of the EBS and what's come out at  
3 the accessible environment. Approximately two-thirds of the  
4 neptunium breakthrough curve has come out at the well.

5 Also, we didn't have much influence, the way we  
6 modeled the saturated zone, we didn't have much effect for  
7 the saturated zone being a barrier.

8 [Slide.]

9 SEVOUGIAN: Finally, the conclusions. Just to refresh  
10 your memory on the 10,000-year performance. The releases  
11 were below the Table 1 limits. There were no releases for  
12 low infiltration for the range we used at the accessible  
13 environment. For the Buscheck model, high thermal load  
14 model, no releases. Cathodic protection, no releases at  
15 10,000 years. And assuming matrix diffusion, the geosphere,  
16 the unsaturated zone, there were no releases.

17 However, that fracture/matrix interaction term,  
18 the connectivity parameter did have an effect because of the  
19 travel length relative to the time that we looked at the  
20 doses. And I didn't show the last one, but the 10,000-year  
21 peak dose is most sensitive if you do a linear regression  
22 through the velocity, matrix velocity in the Calico Hills  
23 vitric unit simply because it has the lowest tendency  
24 towards fracture flow. And then the 10,000-year peak dose  
25 is sensitive to the percolation flux in the unsaturated



zone.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

[Slide.]

SEVOUGIAN: The 1 million performance was most sensitive to either dilution in the saturated zone or the percolation flux in the unsaturated zone. If you remember, a barrier that could intercept the drips on the packages so you have no advective releases had a large effect. However, I don't stay awake at night thinking about it. Sorry, Jean.

Fracture/matrix interaction did have an effect -- no, sorry -- it had a delay in effect, but no real effect on peak doses. Also, we saw that the thermo-hydrologic model, the corrosion initiation model, the degradation model, cathodic protection didn't have much of an effect in a million years.

That concludes my talk.

LANGMUIR: Thank you. One of your last conclusions there is, I think, important to us since we're not -- the latest episode is we're not going to the Calico Hills. I'm wondering what your thoughts are, having done the TSPA, on the importance of that comment? The 10,000-year peak dose depends on the matrix velocity in the Calico Hills.

SEVOUGIAN: That's right.

LANGMUIR: How much could that matter, I guess, is the question.

SEVOUGIAN: We found that also in the Calico Hills

1 system study. I guess I don't have the results with me, but  
2 it explained about 50 percent of the variability, I think.

3 LANGMUIR: How much would it lower your peak does, I  
4 guess, is the question. How much might it lower the peak  
5 dose?

6 SEVOUGIAN: If most of the travel were -- let me  
7 rephrase that. It depends on the velocity through the  
8 unsaturated zone. So because it has a higher saturated  
9 conductivity in the Calico Hills vitric it takes a much  
10 higher velocity to initiate fracture flow in that unit.

11 As far as how much of an effect, you could  
12 quantify it with these regression statistics and it had a  
13 value of about 50 percent. It was ranked number one with a  
14 value of about 50 percent. It is important at 10,000 years  
15 because it delays it. It delays it so it never comes out.  
16 It comes out later, but it doesn't come out within 10,000  
17 years, assuming we have a good handle on the properties of  
18 the Calico Hills.

19 LANGMUIR: Pat Domenico.

20 DOMENICO: In all the history of the total system  
21 performance assessments, eloquently spoken to by Abe, we  
22 have never ever seen this much emphasis on dilution. We've  
23 seen dispersion, we've seen retardation. Do you have a new  
24 source code here that because now we've got this poor soul  
25 out there at four kilometers with a 50-meter well and now

1 you can define a dilution volume? Have you done some  
2 changes in the source code to incorporate this?

3 Because we've never ever heard how important  
4 dilution was before, except you never got enough of it.

5 SEVOUGIAN: A lot of people can probably answer better  
6 than me, but --

7 DOMENICO: Am I right or am I wrong here?

8 SEVOUGIAN: In TSPA-93, it had a very large effect. We  
9 had a plot in TSPA-1993 that showed a very steep curve for  
10 dose versus saturated zone velocity.

11 DOMENICO: Saturated zone velocity, but you didn't  
12 relate that, at that time, to us to dilution. Now I can see  
13 where it's coming from.

14 ANDREWS: This is Bob Andrews. We talked about  
15 dilution, by the way, several times in the saturated zone.  
16 Perhaps everybody's awareness is more acute now with the NAS  
17 recommendations. We talked about it and we had dilution  
18 before. We're, in fact, assuming the same dilution now as  
19 we assumed in TSPA-1993.

20 DOMENICO: I thought the way you handled dilution  
21 before was you had this plume moving along and it was being  
22 recharged by rainfall.

23 SEVOUGIAN: No.

24 DOMENICO: That's not the way you handled it before.

25 ANDREWS: No.

1 DOMENICO: This is droplets coming into a river. You  
2 have it now.

3 SEVOUGIAN: Well, it's not much of a river here.

4 DOMENICO: Very small velocity going into a rather  
5 large one.

6 SEVOUGIAN: Yes. Any more questions?

7 LANGMUIR: Jared Cohon.

8 COHON: Some basic questions, again. I was having  
9 trouble relating this model to some of the prior models we  
10 were hearing about. In particular, the way you handle the  
11 flow going through the unsaturated zone to the saturated  
12 zone.

13 Is it fair to say that what you have is like a box  
14 model and you're passing things on from box to box? And  
15 that to the extent that physical phenomena are being  
16 modeled, it's as represented by the abstractions from the  
17 prior models? That is, you're not modeling the physics of  
18 the flow exclusively.

19 SEVOUGIAN: I don't know if I'd say that. Within each,  
20 it's like a coarse discretization of the problem. So  
21 within each block, you do have like a model for flow and  
22 transport.

23 COHON: How does that differ from the prior models, the  
24 models from which abstractions were taken?

25 SEVOUGIAN: What the difference is this year is that we

1 fed in a whole range of abstractions from process level  
2 models into the unsaturated zone transport in the rolled-up  
3 TSPA model, whereas last time we just had an arbitrary  
4 distribution for unsaturated zone flux.

5 COHON: So the upstream models are basically upstream  
6 in a conceptual sense to give you those input terms.

7 SEVOUGIAN: Right.

8 COHON: Okay. Good. I said it was basic. Can I ask  
9 two more very quickies?

10 LANGMUIR: Yes.

11 COHON: What is total peak dose rather than peak dose?

12 SEVOUGIAN: Total peak is the dose from all the  
13 radionuclides.

14 COHON: Thank you. What's a complementary cumulative  
15 distribution?

16 SEVOUGIAN: That's one minus the CDF.

17 COHON: Okay. Do I have time for one more?

18 LANGMUIR: Yes.

19 COHON: There's sort of a philosophical problem or  
20 issue that's been implicit and I think it needs to be made  
21 explicit, and that's the issue of how do you deal with  
22 things over such long time periods out. The implicit  
23 assumption seems to be when we're looking at a particular  
24 phenomenon and we recognize that there's uncertainty  
25 associated with it, we're going to assume that the

1 uncertainty is uniform across some particular range. We're  
2 going to define the range and then use a distribution that's  
3 uniform across it, which it certainly seems reasonable  
4 because we don't know any better.

5 But there may be cases where we have to think  
6 about whether that is reasonable, whether we can dream up a  
7 credible connection between phenomena.

8 So, for example, one of the things I'm sort of  
9 stuck on is the way climate change is handled. Who can  
10 argue with it, except to say that you've got two separate  
11 numbers that you're generating in a random way. One is the  
12 starting flux, whether it's zero to 0.5 or 0.5 to 2.0, and  
13 you're generating, I guess, uniformly within that range, and  
14 then a second parameter is the multiplier over the triangle.

15 Now, it may be reasonable, if you talk to people  
16 who really understand climate changes, to the extent anybody  
17 does, or the physical phenomena underlying them, that those  
18 two parameters might be strongly connected. Do you see my  
19 point? And, furthermore, having gone up a ramp for 100,000  
20 years, would you return to the number that you had started  
21 that ramp with?

22 SEVOUGIAN: Maybe we could just use an average of both  
23 of those things.

24 COHON: No, no, no. All I'm saying is that -- well,  
25 this is the other philosophical point that's closely related

1 to it. The real value of the models is to help people to  
2 get better insight into what's going on. Right?

3 SEVOUGIAN: Right.

4 COHON: There's no question that you have to produce a  
5 number at the end, which is the dose number, and that's a  
6 very important part of site suitability and then eventually  
7 a license. But the real value is so that you all and people  
8 like us can understand what's driving that number.

9 If we get so caught up in sort of the details of  
10 just generating numbers to arrive at the number, then we  
11 tend to obscure that insight. And this is one example of  
12 it. So exploring those kind of phenomena. That wasn't a  
13 question, I know.

14 LANGMUIR: Victor.

15 PALCIAUSKAS: I would like to just pick a slight bone  
16 with you on your first conclusion, if you could put it up.

17 SEVOUGIAN: The 10,000 year?

18 PALCIAUSKAS: Not the 10,000. Skip the 10,000. The 1  
19 million year is much more interesting, I think. It's at  
20 least much clearer. Everything is sort of simplified in  
21 your horizon. The two most important parameters that you  
22 have listed are dilution, which you emphasize very strongly  
23 and John Kessler did yesterday, and the percolation flux.  
24 I'd like to just emphasize that really the percolation flux  
25 is much more important than the dilution, because the

1 dilution -- it's a ratio of the percolation flux over the  
2 saturated velocity.

3           So it appears in both of those conclusions. In  
4 fact, in the correlations that you've shown, for example,  
5 it's interesting that you showed the peak dose over the 1  
6 million-year horizon. If you extended the percolation flux  
7 horizontal axis to the same length as you had the saturated  
8 zone velocity, you'd have a much better correlation.  
9 Remember you showed the scatter plot? Well, basically, the  
10 scatter plot appears simply because the percolation flux is  
11 only shown over two orders of magnitude, while the saturated  
12 zone graph is over four.

13           So I think basically you're sort of implying that  
14 dilution ratio is important. It's really the percolation  
15 factor is the dominant one. I'm trying to get it properly  
16 stated. Do you agree with that or not?

17           SEVOUGIAN: Two orders of magnitude on the saturated  
18 zone velocity and two orders of magnitude on the unsaturated  
19 zone. It goes from 0.01 to 1.0.

20           PALCIAUSKAS: You showed the other one basically where  
21 it showed a scatter plot of the peak dose.

22           SEVOUGIAN: Yes.

23           PALCIAUSKAS: And four orders of magnitude there in the  
24 saturated.

25           SEVOUGIAN: Both of them go from here to here.



1 PALCIAUSKAS: But it sort of gives you a better fit to  
2 the data. If you extrapolated the percolation flux probably  
3 to the right, you would get a very -- is that right? Bob is  
4 shaking his head.

5 ANDREWS: I think Dave's other plot is probably more  
6 germane because the percolation flux controls which nuclide  
7 comes out as a function of time, which one is the dominant  
8 nuclide. If I change the nuclide that dominates from the  
9 left-hand part of this curve, technetium and iodine,  
10 generally, to the right-hand portion of this curve,  
11 neptunium always, I get very different doses.

12 So I have this transition between which nuclide  
13 controls. So, sure, if you just were plotting dilution, per  
14 se, it would be the ratio. What Dave has shown is  
15 infiltration rates, something that is hopefully  
16 quantifiable, and aqueous advective fluxes in the saturated  
17 zone, also something hopefully quantifiable. Dilution  
18 itself is probably difficult to quantify, per se, to  
19 observe, if you will, to measure.

20 SEVOUGIAN: You could include a larger range of  
21 dilution, too, if you assume sub-base mixing or dispersion  
22 all the way to Amargosa Valley.

23 LANGMUIR: I'd like to bring us back to this in the  
24 round table, but we're five minutes over at this point. So  
25 let's proceed with the next presentation. Bruce Crowe will

talk to us about volcanism effects and consequences.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

[Slide.]

CROWE: I'm going to switch to this viewgraph because it's a little more stable. But maybe for volcanism, that's like harmonic tremor. The volcanism task, over the years, has been the subject of lively debate, as certainly Clarence and Leon can testify to, and I've lived through it for many years.

One of the things we've been trying to do in fiscal year '95 is to try to bring it more into the performance assessment arena, try to bring a perspective to the problem. That is, to look at whether it's a really a serious issue or where it might rank among other issues as far as total system performance.

So what we've done in this year and that I'll be talking about is our efforts there. The data that I'll be presenting has trickled in over the last couple of weeks. Some of it came in to me by phone message Monday night. So I can't say I've interpreted it a lot, but what I'm going to try to do is just give you kind of the highlights of some of the things that we've done and how it might affect the PA.

[Slide.]

CROWE: If you turn to the PA perspective about volcanism, I think Abe very nicely summarized what we've known for a number of years. PA has been telling us,

1 somewhat patiently, but persistently that volcanism is not  
2 an issue. What we've been trying to address is some areas  
3 of criticism that have been directed toward those previous  
4 studies, which really fall into two areas.

5 One is that the representation of the physical  
6 process of volcanism wasn't as appropriate as some people  
7 would like it to be. The second was there may not have been  
8 enough consideration of the subsurface geometry of volcanic  
9 events associated that, where you would get both an eruptive  
10 component and a subsurface component.

11 Although, as Abe pointed out, some of the studies  
12 did incorporate both of those factors.

13 [Slide.]

14 CROWE: So what I'll be talking about actually is  
15 things that are all feeding into the PA effects. What we  
16 did is, first, we did some simulation modeling, focusing on  
17 what we call a disruption ratio. Most of the work we've  
18 done in volcanism has been done with what we call volcanic  
19 hazards, or PVHA. That involves the occurrence rate and the  
20 probability of disruption of a given area, those areas  
21 largely being the repository and repository system. What  
22 we've done is some new simulations where we've tried to  
23 bring in the geometry that we presently know of the  
24 different layouts of the repository, as well as the volcanic  
25 events, and then feed actually that data into the simulation

modeling, including both eruptive and subsurface effects.

1           And then using the RIP code and the YMP base case,  
2 we've basically been trying to look at just what happens.  
3 Not worrying so much about the actual numbers, but just what  
4 is the sensitivity, how significant are the releases that  
5 are produced.

6           At the end, I'll just say a few quick words about  
7 some dose/risk modeling that was done back in the early  
8 1980s that Sandia did and what it tells a little bit about  
9 what it might mean for the NAS standards.

10           [Slide.]

11           CROWE: Very quickly, and I don't want to belabor this  
12 in the quick time that I have, is the simulation modeling.  
13 We basically extended the dike models work that Mike  
14 Sheridan and Peter Wallmann have done and largely tried to  
15 bring it into specific spatial and structural models that we  
16 have for volcanism, and I'll show you a little bit about  
17 what those are.

18           We took roughly about 32 models and condensed them  
19 down to seven and ran those seven sets of simulations. We  
20 used two time periods that are tied to volcanic cycles,  
21 roughly a 1 million years and 5 million years. We also  
22 tried to incorporate as much as we could of what we think  
23 the subsurface geometry of the salt centers are. Basically,  
24 they're fed by dikes with dimensions. We factored all three  
25

1 of these into seven cases, the two age periods, and then  
2 different setups for the dikes and used the FRACMAN code for  
3 our simulation modeling.

4 [Slide.]

5 CROWE: And this viewgraph shows you basically -- it's  
6 a synthesis of the seven models. I actually included each  
7 sub-model in your handouts, but I'm not going to go over  
8 each one of those. What we try to do is we look at these as  
9 what we call source zones, where we then basically assume a  
10 random distribution in events and then use FRACMAN to track  
11 where those events would go.

12 This is basically what a run would look like.  
13 This happens to be what we call the Yucca Mountain region.  
14 We're running 100 simulations per setup, with over 300 runs  
15 done, about 100 realizations, with 10,000 iterations per  
16 realization. This is what it typically looks like. In  
17 FRACMAN, we designed an area of interest of about two  
18 kilometers thick and we included two areas here. This  
19 internal purple area includes both the low temperature and  
20 high temperature dimensions of the repository. Surrounding  
21 it, we have a 2.5 kilometer standoff zone that was  
22 identified by other work, Greg Valentine's work, as being a  
23 minimum distance; that if you stood away from that distance,  
24 you really could not see any effects of volcanism.

25 In other words, if a dike penetrated outside of

1 that area, as far as all the modeling showed, you'd  
2 virtually have no effect. That includes both coupled and  
3 primary effects. So this is what we did with FRACMAN,  
4 though, is we'd run these with differing thicknesses,  
5 dimensions, orientations, and then FRACMAN would track the  
6 penetrations of the repository system and the repository and  
7 then also track the repository areas, and then we'd feed  
8 that data into the simulations for the RIP model.

9 [Slide.]

10 CROWE: Quickly, I'll just show you a little bit of  
11 results. The disruption ratio followed pretty much what we  
12 have seen in other calculations. The only interesting  
13 things are two things. One is that of those sub-zones that  
14 I showed you, five of them do not include the repository  
15 site or Yucca Mountain proper and two of them do. And it  
16 ends up, when you run the simulations, that the models that  
17 include it give you higher values of the disruption ratio  
18 here. These are all set up for the low temperature  
19 repository. Whereas the other models showed different  
20 ranges, with the highest being the quaternary pull-apart,  
21 which is the closest structural zone to Yucca Mountain.

22 Then in the lower figure, all I've done is looked  
23 at the same penetrations for the repository system. The  
24 repository system was about 51 square kilometers. So it's a  
25 little bit more than an order of magnitude larger than the

1 repository. So all the results are just downshifted by a  
2 little more than an order of magnitude.

3 The interesting thing that we saw is when we  
4 translated that to the probability of disruption, which is  
5 what we call E-1 given E-2, which means the recurrence rate  
6 times the likelihood of disruption, what we found is that  
7 the numbers were a bit smaller than what we had previously  
8 calculated. Most of our numbers have been around 1 to 2  
9 times 10 to the minus 8. And what we found when we  
10 translated the simulations, where we tried to bring in the  
11 physical reality of what a dike and a dike system looks  
12 like, our larger cases were right around 1 times 10 to the  
13 minus 8, with some of the numbers shifted down even into the  
14 10 to the minus 10 range.

15 Those are lower numbers than we've been seeing in  
16 all of our previous calculations. So bringing the geometry  
17 in seems to suggest that the models we've been using have  
18 been conservative. If anything, we would argue that the  
19 numbers may be smaller than we've been proposing. Again,  
20 you see the same thing on the repository system.

21 [Slide.]

22 CROWE: Then what we set up in the RIP code -- and this  
23 is work that Golder Associates did with us under contract --  
24 was the logic of trying to feed this data into the release  
25 models. So we would take the rate of intersection for the

1 individual seven structural and spatial models and we first  
2 asked the question of whether we intersect the repository.  
3 If we didn't, then all that would be looked at would be some  
4 minor changes in retardation in the far field.

5 If we did intersect the repository, we had three  
6 different options. One was to erupt through it, with a  
7 variety of effects. The other was to have no eruption, but  
8 penetrate through the repository, but not erupt, or  
9 penetrate to some depth below it. And a number of us feel  
10 like this is not a realistic model physically, but  
11 nonetheless, we wanted to run it just to look at  
12 sensitivity. It's been proposed by other people and so we  
13 included it in these models.

14 You end up actually making the probability of an  
15 event higher because you're adding two events. We basically  
16 just assume that the probability of occurring either above  
17 or below was equal to the probability of occurring through  
18 it. So in a sense, we doubled the probabilities when we  
19 generated these things.

20 [Slide.]

21 CROWE: Then, just really quickly, I just wanted to  
22 show you some of the parameters. With the E-1 recurrence  
23 rate, as I mentioned, we feed the disruption probability and  
24 then things that we look at are things like different dike  
25 lengths and we simulated these as uniform, triangular and



1 log-normal distributions, because that kind of gave you a  
2 feel of the value of information. The uniform being the  
3 least amount of information, the log-normal being the  
4 largest amount.

5 We're trying to look at whether or not having more  
6 information has much sensitivity. One of the key things  
7 that we looked at was the dike length and the repository,  
8 since that determines how much is affected. What we assumed  
9 was for the subsurface effects, based on, again, Greg  
10 Valentine's work, is that for the dike in 60 meters, so 30  
11 meters on each side, we would have complete corrosion of the  
12 waste package. So you have complete virtually instantaneous  
13 failure of the waste package, which is conservative. But  
14 nonetheless, we were looking at results from that.

15 We also added in an eruption criteria, which  
16 basically says because we had height as a factor, we wanted  
17 to have some minimum length in order to allow an eruption to  
18 occur, and we chose 500 meters. We also looked at -- if you  
19 look at how the salts erupt in the field, only a certain  
20 component of the dike actually feeds the part of the  
21 material that erupts to the surface. So we chose a minimum  
22 ratio that the dike had to be at least 0.25 of its total  
23 length in order to allow an eruption. So this really was a  
24 trigger of whether the model would go to the eruption versus  
25 subsurface effects only.

[Slide.]

1  
2 CROWE: Again, we tracked the number of waste packages  
3 disrupted or corroded. We also tracked the volume of  
4 material erupted using some representative volume curves.  
5 Again, those were done as uniform, triangular and normals.  
6 We looked at dike length. Then we have some new data that's  
7 new to this work, again, from Greg Valentine's work, where  
8 he has been doing a lot of work at looking at what we call  
9 lithic fragments. Now, this would be rock that surrounds  
10 the dike that's intruded. In other words, it's material  
11 being brought up from depth by the magma ascending.

12 And Greg has done a lot of work in the Colorado  
13 plateau area, where he can look at how much material is  
14 brought up from depth using a stratigraphy. And what he has  
15 is a volume, a lithic volume per meter of dike. That's a  
16 new number that we've been plugging in. We treated it in  
17 the model as a truncated normal distribution with these  
18 values. It is different from the models that we've used  
19 before. In the past, what we've used is a linear erosion  
20 model where you assume that it just uniformly erodes from  
21 the repository depth to the surface.

22 In fact, what we see when we plug in these is you  
23 get much, much smaller volumes of material coming from  
24 depth.

25 [Slide.]

1 CROWE: Finally, we also looked a little bit at  
2 retardation effects. We did not do much in the unsaturated  
3 zone because retardation -- chemical retardation, in  
4 particular, is not a major process. We looked at it mostly  
5 in the saturated zone. And the way we set up the runs, just  
6 for convenience, we didn't allow more than one event to  
7 occur per realization. As you go out to longer time frames,  
8 that can have an effect.

9 [Slide.]

10 CROWE: Okay. So what are the results? And these are  
11 kind of hot off the press. Again, what we're trying to do  
12 with this is we're not trying to give you individual  
13 numbers. But what we took as the base case that we got from  
14 Bob Andrews' group and then Golder ran the same -- their RIP  
15 code, a slightly modified code. Then what we looked at is  
16 the base case with no volcanic events and then the lower  
17 curve is the base case with volcanic events.

18 What you basically see is because the occurrence  
19 probably is pretty low, you're really only affecting the  
20 tail of your distribution, the shapes. Until you get down  
21 into the lower probability ranges, you really don't see any  
22 modification at all.

23 This is running only from the -- this is waste  
24 package releases. So this is summing the sub-model of waste  
25 package releases.

[Slide.]

1 CROWE: The second one that we also tracked is releases  
2 to the accessible environment. Again, we used the same  
3 definition as you've been hearing, the five kilometer  
4 standoff. Again, the first curve here -- I have a nice  
5 little wrinkle here, which is a new curve. The first curve  
6 here is without any events and, again, with events and all  
7 you see is a little tiny shifting. In fact, you really  
8 can't see it until you get out into the low probability  
9 tail. Again, this does seem to reinforce what the PA people  
10 have been telling us and we've been trying to ignore for a  
11 fair number of years -- that you just cannot get major  
12 effects. And this includes both the subsurface effect and  
13 the eruptive effect. So that's where we're at with that.

[Slide.]

15 CROWE: Let me just make a few comments on some work  
16 done by Sandia in the 1982-1983 time frame. Stan Logan was  
17 a consultant.

18 ALLEN: Excuse me. Bruce, can I interrupt you a moment  
19 on this last slide?

20 CROWE: Sure. Back to the releases?

21 ALLEN: What's the meaning of postcaldera cycle?

22 CROWE: That's just a time interval. That's the 5  
23 million-year and younger interval. It relates to the basalt  
24 episodes that we classified out. It goes back to the  
25

1 spatial models that I showed. I had two time intervals.  
2 The 1 million is the quaternary and the 5 million is what we  
3 call postcaldera.

4 ALLEN: But the cycle has no particular connotation.

5 CROWE: No. We don't think it's coming back or  
6 anything. Okay. What was done back in '82, and Stan Logan  
7 was a consultant at this time and did most of the  
8 calculations and I believe he used an EPA code, was they  
9 actually carried out eruptive releases, mostly eruptive.  
10 They looked at thermal effects, but didn't really carry it  
11 out into the subsurface releases.

12 But they did eruptive effects, where they did both  
13 cumulative releases and they did those calculations. They  
14 assumed a reference population that is identical to the  
15 present population of the Amargosa Valley and they carried  
16 out about inhalation and immersion, basically the eruptive  
17 or airborne component, and then also looked at non-airborne.

18 What they concluded was that the airborne component was  
19 actually fairly small and came up with maximum doses of  
20 about 14 millirem per year. But the non-airborne, under  
21 some worst cases, and their worst cases were where they set  
22 up individual doses, where somebody either lived on a cinder  
23 cone that erupted, contaminated material, or built their  
24 homes out of it, and they got some releases as high as four  
25 rem per year. Again, that is just for individuals. So

that, of course, was individual dose.

1           That report is actually fairly interesting because  
2 a lot of the parameters they use are very similar to what's  
3 been suggested in the NAS report and it's actually worth  
4 looking at for that historical perspective almost.

5           In terms of what the NAS standards are, I think  
6 there's a couple of things that are important for volcanism.

7           First of all, if you go out for longer time frames, like a  
8 few hundred thousand years, roughly, the recurrence rate for  
9 volcanism is about an event every 300,000 years, the average  
10 return rate. So if you go out beyond that, really volcanism  
11 shifts in to become an expected event.

12           What becomes important then is what we call the  
13 standoff or the disruption ratio, and that's about a factor  
14 of 3 in a 1,000 standoff. So what it says is you would  
15 expect an event and what becomes important is where that  
16 event occurs and how it might affect the repository.

17           ALLEN: Pardon me. What is standoff?

18           CROWE: That would be just the disruption ratio. That  
19 means where the event occurs relative to the repository. So  
20 what I meant is you're protected -- the ratio of  
21 intersecting the repository is about 3 in a 1,000, and that  
22 would remain consistent no matter what the time frame was.  
23 So that really is your only reduction in the event  
24 probability is the disruption ratio.  
25

1 REITER: Is the three to four, is that the number of  
2 events in the region of the repository?

3 CROWE: That's right.

4 REITER: And only 3/1,000th of those would affect the  
5 repository.

6 CROWE: Yes. Those are mean recurrence times and mean  
7 disruption ratios. So that would be roughly -- that's a  
8 better way of phrasing it. Standoff is kind of a different  
9 term that I made up, I think.

10 ALLEN: But this is some sort of an average for all of  
11 these different areas you showed us.

12 CROWE: Yes, exactly. Correct.

13 ALLEN: And if you chose a different area, you could  
14 come up with quite a different number.

15 CROWE: You would. In fact, for the models that don't  
16 intersect the repository, if you take the dike geometry  
17 models, your number would probably be quite a bit lower than  
18 that.

19 What we have to comment on where we have done  
20 these dose calculations way back in the '80s is that they  
21 were probably pretty conservative. We assumed some pretty  
22 long dike lengths. We assumed large volumes.

23 And if you go to longer time frames, there's two  
24 factors that could affect your calculations. One is that it  
25 does appear that volcanism is waning in the same sort of

tectonic setting and we think we're seeing waning tectonics.

1 You might want to actually consider that in your  
2 calculations. We do not now do that. We assume steady  
3 state.

4 The second thing is that as part of the Golder  
5 work, they have a specialist in spatial statistics who  
6 looked at the distribution data for the last 9 million years  
7 for the volcanics and he came up with what he feels is a  
8 model that you've been seeing a southwesterly drift with  
9 time. In 10,000 years, it's not important. As you go out  
10 to increments of hundreds of thousands of years, that might  
11 be something that would be an important effect on the  
12 calculations. Roughly, what it says is there appears to be  
13 some evidence that volcanic events are moving away from the  
14 Yucca Mountain site.

15 The second thing that I have to point out, and  
16 this is really important, is that what we have chosen is  
17 this lithic fragment analog to do our eruptive releases.  
18 That just says that these fairly low density fragments are  
19 good trackers of how waste might behave. The reality is if  
20 we had to choose a physical model, it looks like it would be  
21 very difficult for a magma moving in a narrow dike a meter  
22 or two wide to really carry waste out.

23 We chose to use the analog because the recurrence  
24 probability was so low to start with, we just looked at it  
25



1 as a bounding calculation. As you go out longer in time,  
2 what you really would want to look more at is your physical  
3 model, how realistic it is. I'd have to comment that I  
4 think our eruptive models are probably very overly  
5 conservative because we don't think that you're going to  
6 easily remove it. What we assume is that the whole waste  
7 package is fragmented and distributed with the volcanic  
8 events.

9 It also turns out that where it's erupted becomes  
10 important. What they found is the airborne component is not  
11 that significant. You actually get a dilution effect with  
12 large dispersal. But what becomes more important is what's  
13 called the scoria-fall sheet. This is material that doesn't  
14 form a scoria cone, but it falls out within a few kilometers  
15 of material. That rapidly reworks into the environment and  
16 there are a variety of ways that that can get into the  
17 biological food chain and various things like that.

18 But one thing I'd have to emphasize is you have to  
19 be a little bit careful with applying some of the past  
20 studies that have been done because we used some pretty  
21 conservative assumptions just to really bound how you would  
22 get a dose model.

23 [Slide.]

24 CROWE: So to summarize, basically, what we found is  
25 that your choice of spatial or structural models is more

1 important than we originally thought. Particularly, the  
2 dike lengths become critically important and we've got some  
3 new data that suggests that maybe the shorter dike lengths  
4 are more appropriate, in which case some of our calculations  
5 have been a little bit conservative.

6 But no matter how you run this, your probability  
7 of disruption is quite low. Our maximum disruption  
8 probabilities were about 3 times  $10^{-8}$ , whereas  
9 our 50 percentile values were somewhere in the range of one  
10 to two under our previous studies. So we think the  
11 probability would downshift a little bit. If you go to the  
12 shorter dike lengths than we used, it would shift even more.

13 So you end up with volcanism being a low  
14 probability event and probably low consequences under a  
15 10,000-year cumulative release. It's difficult to make it  
16 into a major event.

17 Then, finally, what we think we see is that the  
18 secondary effects would probably dominate a dose model if  
19 you do not accept the fact that waste can be easily  
20 transported to the surface. That would be a thorny decision  
21 because it would certainly be actively debated. There would  
22 be no question that some people would propose that that's an  
23 easy thing to do.

24 But what we have concluded from looking at this  
25 data and looking at the sensitivity of the changes in

1 release curves versus the uncertainty of the release curves,  
2 which you've been hearing from the PA models, is that on  
3 that basis, volcanism would not be rated as a high priority  
4 issue for Yucca Mountain.

5 LANGMUIR: Thank you, Bruce. Questions. Clarence  
6 Allen.

7 ALLEN: Bruce, you say that it's not a high priority  
8 issue. Other people apparently would disagree.

9 CROWE: Yes.

10 ALLEN: Can you tell us what the major areas of  
11 disagreement are right now that might affect these results?

12 CROWE: Let me caveat that, saying there's a low  
13 probability, a low priority issue. What we would say is if  
14 you take the realization of the performance of a repository  
15 for either the 10,000 or possibly in dose periods and how  
16 we've integrated the volcanic model into that performance,  
17 that way of assessing performance, it would be a low  
18 priority issue.

19 You can certainly quarrel with how we are  
20 integrating the parameters into that and how well RIP  
21 represents reality. So that's an important caveat.

22 The real main issue of contention in volcanism is  
23 a number. We've debated at length, as certainly you know,  
24 over the recurrence rate and basically the PVHA side of it.

25 What I have to comment is while there have been a lot of

1 active debates, the actual difference in numbers, if you  
2 translate them into the values, are pretty small, to where I  
3 don't think that the occurrence side of it is really a major  
4 issue. At least that's my view, but you will hear  
5 differences to that, obviously.

6 Probably the most telling comment, I think, is  
7 Chuck Connor's calculation where he would argue, based on  
8 his non-homogenous models, that Yucca Mountain is located in  
9 a probability gradient and because of that gradient, there's  
10 a lot of sensitivity in where the actual -- where you might  
11 choose that probability value, depending on whether you  
12 chose a mid point or a different position of the tail.  
13 That's probably the major sensitivity.

14 We really haven't entered into the release side of  
15 that much, but arguments like how explosive an event would  
16 be, that sort of thing. The real interesting thing, in our  
17 mind, is that if you get a more explosive event, you end up  
18 diluting the releases. Under a dose standard that's -- all  
19 we do under the cumulative standards, we just sum what  
20 releases come to the surface. Under a dose standard, we'd  
21 actually get a reduction in a component that's originally  
22 dispersed.

23 But I do have to repeat that we really have to  
24 kind of re-look at some things if we go to a pure dose/risk  
25 based model. I think the most important thing would be to

1 look at your actual physical interactions with the dike in a  
2 repository, and those are areas of a lot of uncertainty.

3 ALLEN: Thank you. If we do have a volcano there,  
4 you'd rather have it look like Pinatubo.

5 CROWE: In some ways, that's correct. The more you  
6 dilute it, it would end up being just a very small component  
7 of background by the time you dispersed.

8 LANGMUIR: Pat Domenico.

9 DOMENICO: Can I see the last slide, Bruce?

10 CROWE: The conclusion slide?

11 DOMENICO: The conclusions, yes. The last bullet. I  
12 hate to bring this out, but it's late in day. Your  
13 secondary effects. Corrosion, of course, that's negative,  
14 but if we believe everything that we're hearing here, the  
15 reduction of retardation is a positive effect because now  
16 the radionuclide will move faster and the dilution will be  
17 better.

18 So that's an unfavorable characteristic, along  
19 with slowly moving groundwater. They're both unfavorable,  
20 which is a little bit contrary to everything I've ever  
21 learned. But it's late in the day. I thought I'd throw it  
22 out.

23 CROWE: I would just accept that comment.

24 LANGMUIR: Leon Reiter? No. Any further questions?

25 [No response.]

1           LANGMUIR: Okay. Let's proceed. Thank you, Bruce.  
2 The next presentation is Bob Andrews, coming back with a  
3 summary and recommendations based upon the previous.

4           ANDREWS: You've heard a lot of total system  
5 performance assessment in 1995. In a way, maybe I should  
6 just open it up to questions, I have kind of that desire,  
7 and let's see if you heard what we wanted you to hear. But  
8 I thought maybe I'd better bulletize that and make clear  
9 some of the major assumptions, some of the major  
10 differences, some of the things we didn't do and their  
11 potential consequences, if you will, both from a positive  
12 side and from a negative side, and how this information or  
13 in what form this information feeds into the design and site  
14 characterization program.

15           As an introduction, you heard all of these things  
16 today, from item one through to the biosphere. As I think  
17 Jean pointed out yesterday, this work was done in parallel,  
18 in time anyway, to the waste isolation containment strategy,  
19 but, perhaps not too surprising, you see some of the same  
20 things floating to the top in both the strategy and the  
21 hypotheses characterized in that strategy and what is  
22 embedded into a total system performance assessment.

23           Ultimately, of course, testing and some of the  
24 other hypotheses that are placed in that strategy would be  
25 where we would hope to go.

[Slide.]

1           ANDREWS: I don't want to walk through all of the  
2 assumptions, because then you'll walk away with the idea of,  
3 well, there are so many assumptions that I can't trust the  
4 numbers that you gave me and the sensitivities that you  
5 performed.

6           LANGMUIR: Even if it's true.

7           ANDREWS: Which maybe is what you walk away with, I  
8 don't know. But let's just talk about them just to make  
9 sure everybody is clear where the assumptions are, and we  
10 can talk about the importance of them. Some of them we  
11 looked at, some of them we didn't.

12                   The first two aspects we did look at. We looked  
13 at a difference of a conceptualization of how things perform  
14 in the drift, some calculations that Lawrence Livermore has  
15 performed, Tom Buscheck in particular, and some calculations  
16 that we have performed. Some differences in parameters,  
17 some differences in conceptualizations, clearly some  
18 differences in result.

19                   Did it make a difference? Huge difference at  
20 10,000 years. No one questioned it. Did it make a  
21 difference in a 1 million years? No. Factors of three we  
22 don't talk about. Factors of 50, 100, we talk about. These  
23 effects are neglected. Did it make a difference? I don't  
24 know. Dr. Langmuir pointed out some things that clearly  
25

1 need to be addressed in future iterations. There are some  
2 ongoing data collection programs, looking at, in particular,  
3 the thermo-chemical aspects of in-drift emplaced materials.

4 This fourth bullet probably should always be the  
5 top bullet of all of them -- how you distribute the flux  
6 that is there. What is the flux that is there and how you  
7 distribute that flux are key to virtually everybody's total  
8 system performance assessment. I don't care if you're  
9 talking about Sweden or Canada or Finland or the U.S.,  
10 that's always number one.

11 Now, they happen to engineer some things in their  
12 near field environments to get away from that, but it ends  
13 up being the key issue. And, finally, how you distribute  
14 that flux in the drift itself becomes pretty significant, as  
15 you saw, even over the 1 million-year time period.

16 [Slide.]

17 ANDREWS: Some major assumptions in the degradation.  
18 The effects of cathodic protection on the initial point was  
19 clear, I think, in some of the presentations. So its effect  
20 on container degradation, its effect on substantially  
21 complete containment is substantial. The effect of cathodic  
22 protection on 1 million years, not surprisingly, is somewhat  
23 minimal. Again, another factor of three.

24 Had we, just as an aside, made the most optimal  
25 assumptions of thermo-hydrology and cathodic protection and



1 cladding and a few other things, there would have been no  
2 releases in 1 million years. Just to point that out. We  
3 weren't looking at the optimums. We were looking at kind of  
4 ranges based on current expectations, if you will.

5 An important point here, I think Joon brought it  
6 out, but it might have been lost on some people. Tom  
7 Pigford, in a number of presentations that we made both to  
8 NAS and to Tom personally, said, well, you know, that first  
9 pit through is not the package disappearing. So we said,  
10 yes, you know, you're right, that first pit through is not  
11 the package disappearing. Let's include distribution of  
12 pits on that package as a function of time and directly  
13 incorporate it. Does it make a difference? Well, probably  
14 not too much. We didn't show that, but it adds some  
15 representativeness, if you will, to the overall package  
16 degradation and, therefore, release.

17 [Slide.]

18 ANDREWS: Cladding effects. We looked at some  
19 sensitivity there. It does have an impact on the peak  
20 release from the EBS. Pretty important assumption. How  
21 you, in your mind, conceptualize water coming into contact  
22 with the cladding or holes in the cladding and, therefore,  
23 with the waste form itself. We assumed that the waste form  
24 surface was covered, once the package had failed and once  
25 the cladding had failed, with a very thin film of water. It

1 doesn't take much of a film of water to alter the fuel. In  
2 fact, the Argonne tests, that I think the board has heard  
3 about, have fuel altering in essentially humid air  
4 environments. But you still need an aqueous phase inside  
5 the package. That's an assumption.

6 We looked at alternate forms of the release of the  
7 gaseous radionuclides or those nuclides that most consider  
8 in gaseous form, iodine, chlorine and carbon-14. We didn't  
9 look at any colloidal effects in this particular TSPA.  
10 Perhaps we should quote Dr. Langmuir on that one and say we  
11 don't need to consider it, but probably there's other people  
12 who might feel differently than Dr. Langmuir.

13 [Slide.]

14 ANDREWS: In the geosphere, I think Dave has pointed  
15 out the importance, even over some long time periods, of  
16 percolation flux distribution. It controls, once again, the  
17 nuclide that comes out. It controls it because some  
18 nuclides are slightly sorbing. Neptunium does slightly  
19 sorb. It sorbs more heavily on the zeolitic components of  
20 the Calico Hills than it does in other rocks, but there is  
21 some sorption there. And for low enough fluxes, you can  
22 keep the neptunium, even in a 1 million-year time frame,  
23 within the unsaturated zone.

24 Is that true in 2 million years or 10 million  
25 years? I don't know. Probably not. But in a 1 million

1 years, it is. I think the question that somebody asked the  
2 NAS yesterday, the NAS panel, was a very germane question --  
3 why stop at 1 million. Maybe they can answer that one.

4 ALLEN: It's not been answered yet.

5 ANDREWS: That's probably not there. To get attacked a  
6 little bit. We talked about fluxes in the saturated zone.  
7 I think Dave used the word Darcy velocity. He probably  
8 should have used the word Darcy flux, to not confuse you  
9 between the amount of water moving through the saturated  
10 zone versus any retardation that may be occurring in the  
11 saturated zone. There's clearly some minimal amount of  
12 retardation in the saturated zone, which doesn't buy you  
13 much because the velocities in the saturated zones are rapid  
14 enough, at least under most conceptualizations.

15 The important thing here, and we did talk about  
16 this a little bit, the transverse dispersive mixing in the  
17 saturated zone. We confined the releases to the width of  
18 the repository. If one had some confidence in transverse  
19 dispersivities, you would say, well, there's some transverse  
20 spreading, if you will, of the plume greater than that  
21 width, which tends to lower the peak.

22 If my well is in the middle of that peak, it  
23 doesn't buy much in five kilometers. If my well is 30  
24 kilometers away, it buys a lot. Backwards of 100. When I  
25 talk a lot, I'm talking about hundreds or more.

[Slide.]

1           ANDREWS: Biosphere. All of these doses that were  
2 presented, the peak doses, are essentially Appendix D of the  
3 NAS recommendations; i.e., the minority view of how to do  
4 this, not the majority view, which is looking at a critical  
5 group versus defining a critical group and then trying to  
6 look at concentrations in the vicinity of that critical  
7 group and, therefore, the resultant doses associated with  
8 average individuals of that critical group.

9           Does that make a difference? Yes. It makes a  
10 very big difference. It depends on how one defines that  
11 critical group. I think the NAS recommendations were that  
12 EPA, in its rulemaking, should define that critical group.  
13 But if one defined that critical group currently, based on  
14 current demography, and I think John Kessler at EPRI,  
15 they've gone to a lot of effort trying to look at demography  
16 and critical groups, one might say this has a factor of 100  
17 to 1,000 on the peak dose to an average individual.  
18 Critical group versus maximally exposed individual.

19           There are some assumptions there regarding -- I  
20 need to hurry up here.

21           [Slide.]

22           ANDREWS: The major differences between this iteration  
23 of TSPA and the previous iteration of TSPA are many and let  
24 me just highlight a few. The potential effect of capillary  
25

1 barrier being looked at, how handle corrosion of the  
2 packages, the effects of cathodic protection are all  
3 different. More representative, we believe.

4 [Slide.]

5 ANDREWS: The EBS releases. Again, the capillary  
6 barrier effect is the pretty big one there and conceptual  
7 model of transport in the EBS is different. In the  
8 geosphere, how we incorporated fracture and matrix  
9 velocities, if you will, is different for our case. To be  
10 fair here, Mike Wilson, who is also in the audience, the  
11 TSPA they performed did include fracture/matrix interaction,  
12 did look at, in fact, sensitivity to matrix diffusion in  
13 TSPA-1993. So, in fact, it's probably not a difference in  
14 toto from TSPA-93. And the dose conversion factor is  
15 slightly different.

16 [Slide.]

17 ANDREWS: Okay. Let's look at some of the -- start  
18 with the non-conservative things. What could make the  
19 performance worse than what we've already presented here?  
20 Three main things.

21 One, just because of the sensitivity of the total  
22 system performance to the average percolation flux, if one  
23 increased that average percolation flux, one would increase  
24 dose and, therefore, increase risk. And I think there was  
25 some alluding to some inferences and modeling done, very

1 recent, based on some observations, to try to look at  
2 fracture-initiated surficial infiltration rates. It's not,  
3 of course, what we're totally interested in, but somehow  
4 that surficial infiltration rate, if it is correct, and I  
5 think there's a lot of verification required there, has to  
6 be redistributed at depth. How is it redistributed? Is  
7 that number correct? How is it redistributed?

8 The big issue here, and I want to underscore that,  
9 the dose conversion factor. There is some uncertainty on  
10 what those conversion factors use. It depends on the  
11 biosphere that you assume and how you think that water moved  
12 from the aquifer through the well to that individual,  
13 through what pathways it moves, and, in fact, the actual  
14 dose conversion factor itself is uncertain. You can find  
15 one from ICRP-X or ICRP-Y. They are, in fact, different  
16 numbers. And some of them are higher for some of the key  
17 nuclides, like neptunium.

18 If there were colloidal transport, it would have  
19 some impact. Some nuclides might be different and there was  
20 no retardation of those columns. That's probably not as a  
21 big a factor and, as we've already heard, not even an issue.

22 [Slide.]

23 ANDREWS: What are the conservative assumptions? So  
24 what are the things that were given better performance than  
25 what you've seen for the last six hours? Some of these

1 things we have done sensitivity studies, we have actually  
2 seen the impact, and in other cases not. Most of the first  
3 four you have seen.

4 We saw that if it's low percolation flux  
5 distributions, you become driven by things like iodine,  
6 technetium and non-sorbing nuclides. Those have lower peak  
7 doses in general than do the neptunium, a factor of 30,  
8 roughly.

9 The gaseous releases from the EBS. If you can  
10 assure yourselves that you have no gaseous release from the  
11 EBS, then things like iodine, in particular, would only be  
12 released in aqueous phase. And if you then combine that  
13 with this one, i.e., can design it in such a way such that  
14 you assure yourselves of only having diffusive releases,  
15 then you essentially have -- as Dave pointed out, the curves  
16 are off the map. They wouldn't even be plotted anymore if  
17 you forced yourself into diffusive releases from the EBS,  
18 all of the nuclides.

19 Cathodic protection we did look at and the  
20 cladding we also looked at. Essentially reducing the  
21 available inventory there is for release. If you only fail  
22 a certain percentage of the packages and within those  
23 certain percentage of packages, you have a certain  
24 percentage that the cladding remains intact for a very long  
25 time, you have a very beneficial effect.

1           And this last one I've already talked about.  
2           Going from the fence, where I have some mixing, to further  
3           down gradient, where I have a lot more mixing and a lot more  
4           combining of groundwaters, has a big effect on  
5           concentrations and doses. Something about dilution. I  
6           guess that's how that equation goes.

7           CANTLON: Solution dilution.

8           ANDREWS: That's right. I didn't want to say it, but  
9           I'm glad somebody else did.

10          [Slide.]

11          ANDREWS: What are the limitations? So where do we  
12          have our comfort level and where do we feel somewhat  
13          lacking? I want to point out that although we tried to  
14          start with basic process models, in some cases, those  
15          process models haven't been validated, if you use that word  
16          in a very general term, in terms of their comparison to  
17          observations. In some cases, those process models are still  
18          undergoing development and revision.

19          One good example of that is the recently completed  
20          Los Alamos process level model on transport through the  
21          unsaturated zone. It was just done and released at the end  
22          of last fiscal year. So when we back off from that, we have  
23          some -- I don't want to say inconsistency, but there's not  
24          the strong tie you would like to have between the process  
25          level understanding and, therefore, the results in the total



system analysis.

1  
2 In the case of both the site program and the  
3 engineering program, I think Joon has pointed out sort of  
4 the assumptions. The data collection program for some of  
5 the materials properties is just now starting. So we have  
6 some uncertainty on the process model for corrosion and  
7 pitting corrosion, in particular, the corrosion-resistant  
8 materials.

9 The third bullet, as somebody said yesterday, one  
10 of the major emphases of the site program next year, in  
11 fact, is this third bullet. It's to synthesize that  
12 information that is available for the different processes  
13 that we have identified to help in substantiation of them  
14 for future total system performance assessment.

15 Clearly, once that process is done, the next one  
16 would be key. That is testing how representative are your  
17 fractions back to those process level models and their  
18 understandings.

19 But the fifth bullet always will be there, and  
20 that is residual uncertainty will remain even after that  
21 process occurs.

22 [Slide.]

23 ANDREWS: So what are our suggestions, if you will?  
24 Kind of similar to Jean's last slide from the waste  
25 isolation strategy. What are the investigations required to

1 enhance the realism or representativeness of those  
2 predictions that we think we'll have to make?

3 First and foremost is probably through the ESF and  
4 ESF mapping and age dating of water observed in the ESF or  
5 in the rocks in the ESF, to have some estimate or  
6 confirmation that the percolation fluxes at repository depth  
7 are, indeed, small. That's clearly number one.

8 We saw the importance of the thermo-hydrology in  
9 the backfill. Clearly, both of these two relate to that.  
10 Some of it's related to the properties of the backfill  
11 material, some of it's related to the prediction of how the  
12 near field environment behaves over time.

13 But the cathodic protection effect is still a very  
14 positive effect and confirmation of that, with direct  
15 observation and testing, analog studies, et cetera. It's  
16 very important.

17 The stability or instability, I probably should  
18 say there, if you look on the positive side of colloids,  
19 should be confirmed to assure ourselves that the projections  
20 by Dr. Langmuir, in fact, are the case.

21 We've talked at neptunium solubility, if that is  
22 the peak dose contributor. Perhaps we are overly  
23 conservative in neptunium solubility and better defining  
24 that would be useful.

25 Within the saturated zone, especially as we look

1 at doses to critical or average members of critical groups,  
2 the amount of mixing and dispersive effects likely there.  
3 Anything that spreads things out or reduces peak  
4 concentration is going to reduce peak doses. So better  
5 quantifying this particular phenomena is very important.

6 And, finally, of course, and I think the NAS makes  
7 this recommendation and I think DOE has made it, that some  
8 group of people, perhaps in rulemaking, I don't know what,  
9 has to define the representative biosphere, so that we're  
10 all working with that same biosphere. And the biosphere is  
11 not something that we're -- that really is a random variable  
12 over a 1 million time period.

13 So with that, I'll stop and entertain questions or  
14 we can save questions for the round table.

15 LANGMUIR: Thank you, Bob. Yes. We have time for  
16 questions. John Cantlon.

17 CANTLON: Cantlon, Board. A couple of questions. In  
18 your look of this last slide that you have up there,  
19 investigations required, I guess I'm surprised you don't  
20 have climatic change as one of the elements that you need to  
21 look at there.

22 ANDREWS: Well, maybe we -- that's probably a good  
23 idea. Maybe we feel we have a reasonable handle on expected  
24 ranges.

25 CANTLON: But if you're going to double or quadruple

1 the evapo-transpiration process, then your whole number one,  
2 which you list as your most important variable --

3 ANDREWS: This one would change.

4 CANTLON: Yes.

5 LANGMUIR: But isn't that included in your range of  
6 infiltration fluxes that you've proposed to worry about, in  
7 effect?

8 ANDREWS: Well, one could argue that with significant  
9 climate changes, you're outside the range of the percolation  
10 flux that we have in there now.

11 LANGMUIR: Unless you're in Alex Flint's 22 millimeters  
12 per year.

13 CANTLON: And it also hits your bottom bullet, too,  
14 because the nature of the representative biosphere is very,  
15 very different in pluvial than it is now.

16 ANDREWS: That's true.

17 CANTLON: The other one is more in the nature of a  
18 question. That is, I guess nobody has quite explained, or  
19 maybe I wasn't listening, one or the other, the nature of  
20 the dispersion or mixing that you have in the saturated  
21 zone. You mentioned that you haven't yet looked at the  
22 width beyond the footprint, that you're looking at the depth  
23 of the well as the variable.

24 But is it a presumption that you have uniform  
25 mixing in that block of water and what's the basis for that

assumption?

1           ANDREWS: It's not an assumption that there would be  
2 uniform mixing in that block of water or within that  
3 transport path. But as the well samples that transport  
4 path, that that well sees effectively uniform mixing.

5           CANTLON: It's going to have import.

6           ANDREWS: It's pulling in water --

7           CANTLON: And mixing it.

8           ANDREWS: -- over not the entire width of the  
9 repository. You know, it's a farmer, so he's not into that  
10 big of a stretch. But it is slotted only over that first 50  
11 meters. If I have him slotted over 500 meters, it's a  
12 dilution that's ten times greater. So how I define the  
13 well, if you will, becomes somewhat important.

14           CANTLON: The other question. One of the people  
15 working in, I think, one of the counties measured an  
16 up-welling of water from the water table as you perforate  
17 the seal on the top of the aquifer. Is there any thinking  
18 about the mechanics of what that might do in terms of the  
19 mobility of the radionuclides down the system? If you've  
20 got an upward thing so that every fracture in contact with  
21 that system essentially bleeds out the upper layer of water  
22 and, therefore, is a potential filter.

23           ANDREWS: I have a couple comments. One has to be very  
24 careful about interpreting small-scale vertical hydraulic  
25

1 gradients from a single point, because a number of  
2 investigations have shown, in both the reality and in  
3 models, that small-scale variability in aquifer property can  
4 give you apparent conversions of flow direction, even though  
5 they're not real in nature. They're just apparent at that  
6 point. So I would take caution on over-interpreting those  
7 fluxes.

8           If one had upward-oriented fluxes, then you would  
9 say, well, I have an additional source of mixing, additional  
10 dilution, if you will, because I have more water in this  
11 system than what we currently assume. Clearly, the mixing  
12 -- and I agree with the general tenor of the question. The  
13 understanding of the saturated zone, and I mean regional  
14 saturated zone, not just the five-kilometer saturated zone,  
15 becomes pretty important to us with dose-based performance  
16 measures.

17           CANTLON: Getting back to the climate change thing.  
18 You would also postulate some kind of an increased flow from  
19 a climate change because the feed in the system is greater.

20           ANDREWS: The helps, too. It helps in reducing  
21 concentration.

22           LANGMUIR: Bob, one of the things that we've heard  
23 about recently, and we're glad to see it, is the role played  
24 by dilution in the saturated zone. I gather, at this point,  
25 it's a fairly simple model that we're looking at. What

1 would you propose or what would anyone who is going to look  
2 at it propose to do to make it more realistic? I'm sure Pat  
3 has some opinions on how that might be done.

4 But if you're going to realistically address the  
5 dilution, and I presume some dispersion and all those  
6 effects in the saturated zone, how do you go about it?  
7 You're not going to be allowed any more wells. So you're  
8 looking at what you've got. Can you address that or can  
9 someone else address that?

10 ANDREWS: Let me try and then maybe there's somebody  
11 from the site program who wants to chime in. The USGS is  
12 generating, as we speak, regional flow models of the  
13 saturated zone and site scale flow models of the saturated  
14 zone based on the available information that they have to  
15 date. To the extent those models, flow systems now for the  
16 transport, those models are valid ones. We use them to help  
17 bound expected dilution volumes, looking at dilution now  
18 only, in the saturated zone.

19 With respect to dispersive effects, the C well  
20 test is either underway or soon to be underway. It's  
21 underway hydrologically. I'm not sure if it's underway  
22 transport-wise. Joon Lee maybe can answer. And at that  
23 scale, anyway, a few 100 square meters or 100 meters kind of  
24 distance between wells, we have some indication of  
25 dispersive effects at that scale.

1           The correlation between dispersive effects at  
2 100-meter scale and dispersive effects are five kilometers  
3 or 30 kilometers is, as Pat would be happy to tell you,  
4 quite uncertain. But there's some testing at least at that  
5 smaller scale.

6           LANGMUIR: As someone whose field it's not, I'd be  
7 interested in Pat's thoughts on how much additional dilution  
8 we might expect to see in that sort of an aquifer system  
9 over five kilometers due to dispersion, not just mixing  
10 under the site.

11           DOMENICO: I don't think dispersion is as important as  
12 dilution.

13           LANGMUIR: How about dilution, further dilution?

14           DOMENICO: I don't think dispersion is as important.  
15 You can tell that from your sensitivity analysis. Your  
16 dilution is far more important than your dispersion. The  
17 only way you're going to get some handle on that is with the  
18 conservative tracers, I guess, but that's going to be done  
19 over -- what? What are you at, 100 meters, at best? So  
20 that's done over rather a small scale compared to five  
21 kilometers.

22           LANGMUIR: Can we expect to buy anything? I mean, this  
23 is a proposal for some additional work to be done. Can we  
24 expect to buy much from a more realistic assessment of the  
25 effect of the saturated zone on the doses than a guess of 10



to the 5th?

1           DOMENICO: It's not a guess. I guess that's a  
2 calculation.

3           LANGMUIR: Well, a calculation.

4           DOMENICO: Yes. That's a calculation with the relative  
5 velocities of what's coming in.

6           LANGMUIR: But apart from that, what are we likely to  
7 gain further?

8           DOMENICO: I don't know. That's why they pay you the  
9 big bucks, boy. Figure it out. I don't know. Like I said,  
10 most of this has been analyzed from conservative tracer  
11 studies. That's about all you can do, I think. And that's  
12 kind of a small-scale operation.

13           LANGMUIR: Does the GS have that data now? It simply  
14 hasn't been --

15           ANDREWS: On the dispersive stuff?

16           LANGMUIR: That would give you the insights.

17           ANDREWS: I think their original model is in a state of  
18 calibration right now. So I can't answer your question, to  
19 be honest with you.

20           DOMENICO: The point that all tracer studies of this  
21 scale that I've seen, the ones they've done at Hanford and  
22 everywhere else, never gave you that order of -- well, of  
23 course, they're over 50 meters, too. And they attribute  
24 that all to dispersion and they calculate dispersivity. But  
25

1 nature doesn't know whether it's dispersion or dilution. So  
2 you can calculate a fictitious dispersivity that's really  
3 dilutionisivity or whatever you want to call it.

4 But the ones I've seen, you don't get that kind,  
5 but that's a small scale, very small-scale project.

6 LANGMUIR: On your table of bullets, a couple of  
7 modifications of the verbiage would please me more, but  
8 maybe not you. We'll try them on you. Establish stability  
9 of colloids is the verbiage and I would suggest that we're  
10 talking about stability and mobility, because they may not  
11 be mobile. And, or course, the stability is highly related  
12 to whether there's backfill or not, right? And the nature  
13 of the backfill.

14 And then in neptunium, rather than solubility, I  
15 would suggest we ought to look at what are the maximum  
16 concentrations of neptunium we could expect, at values below  
17 solubility, probably, and why. If you get a drop of water  
18 sitting on the spent fuel, you might get to saturation of  
19 something of neptunium, but as soon as that drop leaves the  
20 waste, you no longer even have that control anymore.

21 Any further questions? Leon Reiter.

22 REITER: I have a question to you, Bob, or Jean or some  
23 of the people of the M&O team who look at the waste  
24 isolation strategy. I just have a question about a closer  
25 mapping between what you came up with and what they're

1 suggesting. Let me give you my quick interpretation, and  
2 this may be wrong. Essentially, it seems to support at  
3 least two of the major assumptions there about the  
4 importance and significance of percolation flux, what they  
5 call seepage rates, and dilution.

6 However, when you look at the role of the  
7 engineered barrier, you both think it's important, but I  
8 detect a difference. I don't know if it's real or not. It  
9 seems to me that you get your largest impact from the  
10 assumption of a capillary barrier and they don't assume a  
11 capillary barrier. They assume that the presence of the  
12 backfill itself and the increased temperature and humidity  
13 are going to be important. Is that a correct thing? I  
14 don't know if that's right or not. And how important is  
15 that?

16 ANDREWS: I think that's a correct interpretation. And  
17 I think we show it can have a pretty significant impact.  
18 That latter point of the in-drift thermo-hydrology can have  
19 a big impact over the tens and even hundreds of thousands of  
20 years. When we ran it out to 1 million years, the impact  
21 was minimal, a factor of three.

22 Their strategy focuses on both time periods, if  
23 you will, the containment time period and an isolation time  
24 period. The containment time period is very strongly  
25 related to that thermo-hydrology. The isolation time period

1 can be still affected by that thermo-hydrology. It does  
2 lower the saturations for longer and you can assure yourself  
3 of low advective flows, i.e., minimal drifts, and still have  
4 adequate performance, even over more than that, over 1  
5 million years.

6 I don't think there's that much of a disconnect.  
7 Maybe Larry or someone.

8 REITER: Larry, why did you guys invoke the capillary  
9 barrier?

10 RICKERTSEN: We saw, as we mentioned yesterday, a  
11 number of effects. For example, one of the effects is that  
12 when you sprinkle water on backfill or on like a gravel, it  
13 tends to dry out quickly. It evaporates. It behaves  
14 differently than closed rock. It has big pore space and  
15 that allows evaporation.

16 That evaporation, according to the Conca results,  
17 seems to happen even under high humidity conditions. That's  
18 one effect. If that were true, that limits the amount of  
19 water that comes into the drifts that could contact the  
20 waste package. That's one effect.

21 Another effect is that it provides an insulator  
22 around the package, as we discussed, and increases the  
23 temperature. It keeps the relative humidity down. That's  
24 another effect.

25 There's other effects, as well. Conca experiments

also showed that it provides a diffusion barrier on its own.

1 The diffusion barrier happens to be the fact that we showed  
2 that you have, under unsaturated conditions, at least this  
3 small amount of water, disconnected films, or whatever other  
4 effect, so that the diffusion coefficient goes way down.

5 Those all look like very promising things. The  
6 difference between what the strategy does and what the  
7 performance assessment does, the performance assessment is  
8 an assessment. It's a let's see what the situation is based  
9 on what we know now. The strategy is a plan. What's the  
10 most profitable direction to go to prove your case? It  
11 looked to us that those are very profitable things to  
12 explore and it seemed to be verified in the performance  
13 assessment that was done at the same time we were going on.

14 The other advantage is it looks like those things  
15 can be tested in a short period of time, which was a major  
16 focus of the strategy, as opposed to long-term effects.  
17 We're worried about the ability to characterize 25  
18 kilometers away, the closest -- whether we can do that in a  
19 short period of time or not. So we focused on the things  
20 that looked most important to us, most profitable to us, and  
21 I think that what you saw in the performance assessment  
22 today is consistent with that.

23 REITER: Can you address the capillary barrier  
24 specifically?  
25

1           RICKERTSEN: We didn't look at that. In debating that,  
2 there was a lot of discussion about whether you can maintain  
3 the dual material nature. Would the fines go down and cause  
4 that capillary barrier effect to not exist? So we wrote it  
5 out as if it weren't there. We're going to let people  
6 comment on it. We're at that stage where if somebody thinks  
7 that's very important and can justify that it will be there  
8 for a long time, maybe it comes back in. As I said, we're  
9 in the process of that review process right now.

10          LANGMUIR: I'm going to cut it off here. We're about  
11 11 minutes over schedule. Thank all of you. We can come  
12 back to some important issues like backfill and its  
13 significance to TSPA in the round table.

14           The last presentation before -- well, Paul Davis  
15 actually is coming up after a break here in a minute. But  
16 at the moment, Eric Smistad is speaking to us with  
17 concluding remarks. We have lots of concluding remarks. We  
18 have several introductions and several concluding remarks  
19 here. So make sure we get the point.

20          SMISTAD: I will not be doing a wrap-up, per se, of  
21 TSPA-1995. I think Bob and company have done a good job of  
22 that. Instead, I have been asked to talk about the future a  
23 little bit. Given the state of the program, that was no  
24 small task. I was, however, able to eke out about five  
25 viewgraphs based on yesterday's discussion. I think that's

probably five too many.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

[Slide.]

SMISTAD: An outline for completeness sake here. I will walk through a time line of TSPA, talk a little bit about process models and their role in total system performance, a little bit about guidance, and then some concluding summary points.

[Slide.]

SMISTAD: This time line is really sort of what I call a modern era. I started it with the SCP in 1988 and went out to the big question mark of license application. As Abe Van Luik mentioned, we have done recently a series of DOE-sponsored performance assessments, two in '91, two in '93 and the one you've been hearing about today.

So, again, this is just not something that we've just started into. We've been doing these for several years now and we are indeed learning things as we go. Out here in the uncertain time frame, we are planning TSPAs now, have them on the books in 1998, and we'll see if that comes to fruition based on the budget determinations. We will obviously be doing TSPAs if and when a license application comes to be.

The reason I started with the SCP here in 1988 is because although the SCP was a good document at the time, we are not explicitly talking SCP in terms of all the studies

1 and detail for the SCP. One reason is because we have  
2 learned things since 1988 and part of that learning  
3 experience has been a result of TSPA; not exclusively, but  
4 it has been a part of the learning experience.

5 So I kind of see it as a good thing that we're not  
6 necessarily following the SCP in that we have learned a  
7 substantial amount since that time frame.

8 [Slide.]

9 SMISTAD: A little bit about process level models, and  
10 I think Bob covered this pretty well. The process level  
11 models are going to be used for the bases of TSPA. It is  
12 the intent now of the program to concentrate, as you've  
13 heard on the synthesis and modeling efforts, to support  
14 TSPA. It is my belief that as these models are implemented  
15 into the TSPA, future TSPAs, the realism and confidence will  
16 increase and the instructiveness of the guidance that we  
17 provide will also increase.

18 [Slide.]

19 SMISTAD: This is just an abbreviated list of process  
20 level models. I don't have all the process level models in  
21 here that we're planning in the program. This is just an  
22 example of some of them that we're going to be producing in  
23 the next couple of years. This is not a priority list,  
24 either. So don't be alarmed if your favorite model is down  
25 at the bottom of the list.



1 I italicized UZ flow because this is the only  
2 model that we had available, process level model we had  
3 available from the site or design of this last iteration of  
4 TSPA. You heard Srikanta Mishra talk about the extraction  
5 and use of that model in the TSPA.

6 We did, as Bob mentioned, just recently receive to  
7 the project the unsaturated zone transport model. We  
8 obviously didn't have time to implement that into this TSPA  
9 and we will be reviewing this from a PA standpoint early  
10 this year.

11 [Slide.]

12 SMISTAD: In terms of guidance, each of the TSPAs, at  
13 least in the modern era that I've talked about, have  
14 contained a chapter on guidance, both to site and design. I  
15 think we found out, at least in the '91 work, that for the  
16 most part, the guidance that we were giving there was  
17 already being looked at in the site program. So there  
18 wasn't really any firm redirection out of that.

19 I think in '93 and in '95, we're providing a  
20 little more meaningful guidance to those programs to be  
21 looking at.

22 The recent project planning has utilized PA  
23 guidance to assist in prioritizing tasks. An example of  
24 this is the recent '96 planning exercise that we just went  
25 through where PA guidance was used to assist in prioritizing

tasks.

1           We have just recently put out a document -- well,  
2           it's still in the DOE review loop right now, but put out a  
3           document on '95 PA guidance for '95 for site  
4           characterization and design. You heard Bob talk a little  
5           bit about the recommendations coming out of TSPA-95. We've  
6           got a piece of work out of Sandia prioritizing the climate  
7           studies from a PA perspective. We did an extensive review  
8           of the UZ flow model we received and provided those comments  
9           back to the site program and those will be incorporated in  
10          the next iteration of that model.

11          We did some seismic work, guidance there. We also  
12          produced a -- I guess I'll call it a short document,  
13          outlining what we would like to see, from a PA perspective,  
14          in the process level models that are being delivered to us  
15          in the PA program. And there is some other miscellaneous  
16          guidance that we've got contained in that document.

17          Just another word on guidance. In PA, we hear a  
18          lot about guidance, what kind of guidance are you providing  
19          back to the site and design programs. I'd like to say that  
20          guidance is an important part of what we do with total  
21          system performance, but it's not the primary thing. The  
22          primary thing that we're doing with the total system  
23          performance is to tell the program something about the  
24          safety of the site, a determination of the safety of the  
25

1 site.

2 I don't want that to get lost in all this provide  
3 guidance, provide guidance, provide guidance, although it is  
4 an important part of it.

5 [Slide.]

6 SMISTAD: In summary, TSPAs will continue to be  
7 produced. The process level model development and  
8 implementation is key, I think, to producing more realistic  
9 TSPAs. The TSPAs will continue to provide guidance and  
10 support major project decisions in the future.

11 Thank you.

12 LANGMUIR: Thanks, Eric. Eric is going to be sitting  
13 on the round-table panel, which will give us a chance to get  
14 at him then. What I'd like to do now is -- we have  
15 scheduled a 15-minute break. I'm assured by Paul Davis that  
16 he can get his visual aids together in about ten minutes.  
17 So let's take a break for ten minutes and come back and get  
18 closer to being on schedule.

19 [Recess.]

20 LANGMUIR: Our next speaker is Paul Davis. His topic  
21 is making use of performance assessment, lessons learned.  
22 Paul, it's yours.

23 DAVIS: Thank you very much for allowing me to give  
24 this presentation to the NWTRB.

25 [Slide.]

1           DAVIS: First of all, I apologize for not being able to  
2 see this in the back. I created these last night in my room  
3 and it was either these or my handwritten viewgraphs, and I  
4 know you can't read my handwriting. So it's a little bit  
5 better.

6           The topic of the talk was to be making use of  
7 performance assessments in the high level waste program and  
8 I was supposed to say something about lessons learned. I  
9 actually deleted it from your hard copy and then I have it  
10 here with a question mark, because I thought long and hard  
11 about what lessons I had learned doing this over some time  
12 frame. Probably the only lesson I've really truly learned  
13 was that if your boss comes to you and asks you to be the  
14 person that integrates between experimental programs and  
15 performance assessment, don't take that job.

16           [Slide.]

17           DAVIS: Presentation outline. Before I could talk  
18 about the uses of performance assessments, I actually had to  
19 define what I thought those uses are. So that's one topic  
20 I'll talk about briefly. Second, I'll briefly review what  
21 my current understanding is of the Yucca Mountain approach  
22 to using performance assessment, and that's been gleaned  
23 from past reviews for the ACNW, as well as the executive  
24 abstract, I guess, that was sent to us as part of this  
25 meeting.

1           Then I'll present some alternative approaches that  
2 were tried by the greater confinement disposal project at  
3 the Nevada test site and the WIPP program.

4           [Slide.]

5           DAVIS: Look briefly at what the results are here. I  
6 think this has a lot of indications on how you can actually  
7 use these results. We've seen these. I've created some of  
8 these that look exactly like this TSPA-95 result. I think  
9 we heard earlier from Abe, the PACE-90 results, the TSPA-92,  
10 93 results, they all look like this. That's a key element.

11          All except for one, I think, comply with the standard, and  
12 that one I think was a gas release from TSPA-93. Is that  
13 right, Abe? Something like that. And I'm assuming that  
14 because it doesn't show up in 95, that that has been  
15 discounted and successfully ruled out. I don't know if  
16 that's true, but I'm assuming that for this plot.

17          But they do look like this. Year after year after  
18 year, you get CCDFs that comply.

19          [Slide.]

20          DAVIS: Another point along the same lines is I  
21 actually took what you just heard summarized in the talk  
22 before last, dose results of TSPA-95. And what I've plotted  
23 here is the dark curve is the given value, given value,  
24 given CCDF of dose in the executive summary of the TSPA-95  
25 result. Then there were statements made in the last that

1 try to give you some insight as to what this value means  
2 relative to some state of knowledge of the program, and  
3 those were the list of conservatisms and non-conservatisms.

4 And statements were made in there that led you to  
5 believe, if you actually took those into account, these  
6 would be the bands you get. That is, these much larger  
7 bands of -- see if this pointer works here. Without the  
8 non-conservatisms, I increase the dose slightly, and, in  
9 fact, I think the number was given as 10 to the 2nd, 10 to  
10 the 3rd would be the kind of relative number that I would  
11 get for an increase. These were things like the possibility  
12 of higher infiltration, things like that that weren't in  
13 that base case.

14 Now, on the other side, the analysis was set to be  
15 extremely conservative. And so I get this kind of curve  
16 here if I took out all of the conservatisms, and that was  
17 like a factor of 10 to the 8th, I believe. It's a question  
18 to ponder now what does this mean in terms of what our state  
19 of knowledge is. Is the state of knowledge telling us that  
20 the real answer is in here or that the whole analysis  
21 doesn't have other things that people worry about in these  
22 all together? And I hope we can talk about that in the  
23 round table later.

24 [Slide.]

25 DAVIS: As far as, then, the remaining issue. First,

1 the compliance issue, and I think Eric hit on that very good  
2 and that is the prime use of total system performance.

3 Well, the remaining issue is why aren't we done. I think  
4 that's one of the critical issues. You have CCDF after CCDF  
5 that show compliance. You have no accurate dose assessments  
6 that show low doses. So I think this is a very fair  
7 question.

8 The data collection issues are several. First of  
9 all, which data should we collect? Second of all, where  
10 should we collect that data? This is a spatially variable  
11 problem. It's not that we go out and just collect a  
12 hydraulic conductivity or an infiltration value. Where  
13 should we put the data?

14 This is the hardest question of the program, I  
15 think. How do we know when we're done? I think those are  
16 the key issues that have to be addressed if you want to use  
17 total system performance to drive the program.

18 [Slide.]

19 DAVIS: As far as the compliance issue, why aren't we  
20 done? This I wrestled with a lot, coming up with a  
21 statement that made some sense and is somewhat defensible.  
22 The only reason I think that we're really not done is DOE is  
23 not ready to defend the results. I put other statements in  
24 here before I edited this one out this morning. I actually  
25 put the Pat Domenico statement, I think from yesterday,

1 which is nobody believes the results, where he said these  
2 are model results and we can make the models do anything we  
3 want. And I'm a modeler. I know that's a fact, which  
4 proves I'm a good modeler.

5 But this is the case. We have not gone through a  
6 license hearing. We haven't gone through a process that  
7 gets feedback from the public or NRC on the results in a  
8 formal manner that's done and over with when you go through  
9 the process. It hasn't got there yet. So instead we have  
10 questions that have to be answered, and these are the  
11 statements that I've gleaned from the process.

12 This one is in the executive summary of TSPA-95.  
13 We're not done because we need to provide a more robust  
14 assessment. We've also heard, and actually we just heard  
15 from earlier that actually some validation work on the  
16 process models must be done before we're finished.

17 And, finally, of course, from the regulatory  
18 perspective, we say we haven't provided reasonable  
19 assurance.

20 [Slide.]

21 DAVIS: As far as the data collection issues, which  
22 data should be collected. The way this process works, as I  
23 understand it and it's just been added to my knowledge, it's  
24 just been added to today, that basically it was a best  
25 estimate of what you think or most probable estimate of what



1 you thought the site would do, do that calculation with  
2 uncertainty, wherein uncertainty is really a propagation of  
3 model uncertainty, as well as stochastic parameter input in  
4 the form of probability density functions that are sampled  
5 from.

6 And then I did a post-audit on that. I'll call it  
7 a post-audit. The British did this extensively, post-audit  
8 after the PA results. And some people call it a sensitivity  
9 analysis. And I use that, as you've just heard, to identify  
10 what would be the key things that need to be addressed in  
11 the future. The knowledge that was added to is I didn't  
12 know a regression analysis had also been done, they just  
13 found that out, to identify what the sensitive parameters  
14 were. So that's the process. And I'm not saying there's  
15 anything critical about the process. I'm just trying to  
16 make sure I understand the process.

17 The key thing about the post-audit is it's testing  
18 things that aren't in the model, and that's usually the  
19 concerns that we end up with in the site characterization in  
20 the program are not the things that are in TSPA. It's the  
21 things that are not in there.

22 The next one is where should the data be  
23 collected. This one is complicated. It's not easily  
24 determined in this case. Bob has been so kind as to lend me  
25 his viewgraph. It's the process of tracking this back. I'm

1 looking at answers over here and I'm looking at data  
2 collection over here. And in this case, in between, I  
3 actually have the model abstraction process. So I've really  
4 replaced the knowledge of spatial variability and those  
5 types of things with an abstract model and in this sense, as  
6 I understand it, a response service, actually, a  
7 metaphysical model. I think that's correct. And that's not  
8 a criticism in any way, shape or form.

9 That just says it makes it difficult now to go  
10 back from the concerns about peak dose to a location to  
11 drill a well. If not impossible, it makes it very difficult  
12 to do that.

13 Note that this is not universally done. WIPP  
14 actually doesn't do this. They don't have the abstraction  
15 process in this form. Their most detailed models of the  
16 site are the models they use for performance assessment in a  
17 fully probabilistic sense.

18 Yes, that's more expensive in terms of computing  
19 and effort, certainly it is, but that is the process they  
20 use. However, don't confuse the issue. They absolutely do  
21 model abstraction process, which as it at the first level.  
22 They absolutely do that like everyone else does.

23 How do we know when we're done as far as the  
24 TSPA-95? I don't know. I just proposed what I thought was  
25 going on, but I don't know and I'd certainly be willing to

1 hear whatever the program says. I think this is it. I  
2 don't know. Expert judgment by the program staff of saying  
3 they have a degree of comfort with the results and the  
4 experiments and, ultimately, of course, that same degree of  
5 comfort by the NRC staff. I think that's the way this  
6 works.

7 From a program management standpoint, from  
8 defining things like critical paths, this doesn't leave you  
9 with a very comfortable feeling about where's the end and  
10 how long it will take to get to the end. It leads you think  
11 maybe it's more schedule-driven, that the end is 1998 or  
12 some magical date and whatever data we have by then we'll  
13 use. But it doesn't give you those things that a program  
14 manager would want to have.

15 [Slide.]

16 DAVIS: Now, I'll talk about another program that used  
17 a different approach and failed. So I'll tell you that  
18 first. GCD is a location that DOE has on the Nevada test  
19 site, in area five. It is actually the only site that's  
20 regulated by 40 CFR 191, that the waste is already buried.  
21 It contains large diameter bore holes, 12 foot in diameter,  
22 that go down some 150 feet, with the waste put at the  
23 bottom, put in with a net, no containers, no waste packages,  
24 simply that kind of waste, rubble. Then the backfill that  
25 was drilled out of the hole is put back on top of it.

That's the entire design.

1                    Luckily it sits 700 feet above the water in an  
2                    incredibly dry environment. And in alluvium, which is much  
3                    easier to understand and predict than fractured rock, of  
4                    course.

5                    What happened in this approach, Sandia doing the  
6                    performance assessment, developed a PA using conservative  
7                    parameters and models and for undisturbed performance. So  
8                    we're not talking about all the scenarios. We're really  
9                    talking about for today's climate and today's conditions.

10                    Then they went through an interesting process.  
11                    They actually asked the experimentalists, the field  
12                    geologists and hydrologists and others, to say don't tell me  
13                    what's wrong about the models in terms of their  
14                    representation of reality, but please tell me could it be  
15                    worse. Is there anything in the parameter distributions, is  
16                    there anything in the model assumptions that can be worse  
17                    than what we've stuck in there?

18                    The experimental group had all kinds of criticism,  
19                    but none of it was that it was worse. In fact, all the  
20                    criticism is that it was way too conservative. Didn't find  
21                    a single distribution or a single assumption that they  
22                    questioned from that point of view.

23                    Well, that complied. Put that in the system.  
24                    That complied for the undisturbed case and the undisturbed  
25

1 case, from the EPA point of view, answers the groundwater  
2 protection rule, which is meant to be done under those  
3 conditions. And the result, from a programmatic point of  
4 view, was funding continued for the experimental group to do  
5 site characterization for the undisturbed case.

6 [Slide.]

7 DAVIS: Now, on to the WIPP experience. WIPP was  
8 essentially going along with a program very similar to Yucca  
9 Mountain's, I would say, in terms of year after year  
10 producing CCDFs, and in their case, if you know WIPP,  
11 multiple and multiple CCDFs, always complying and always in  
12 the executive summary was a statement of caveats. We comply  
13 but we don't know enough. We comply, but we still have to  
14 do these experiments to confirm what's in the CCDF,  
15 basically what's in the models. And that doesn't lead you  
16 to a point that you can identify where you should go.

17 So we developed, myself and Walt Beyeler developed  
18 a method that DOE actually named the system prioritization  
19 method. It had several goals. The first was, as Eric  
20 pointed out, the most important one for PA is to demonstrate  
21 regulatory compliance. Then the second one was to identify  
22 the remaining activities needed to achieve compliance. This  
23 is not experiments. It is not experiments alone. It is the  
24 combination of experiments, changes to the engineered system  
25 in terms of waste package, backfill, the same sorts of

1 issues that we're talking about here today. And in WIPP's  
2 case, they also have another key component that they can  
3 address, and that is changes to the waste acceptance  
4 criteria.

5 They have RCRA waste. They have mixes of junk, in  
6 a sense. A lot of their problems could go away if they had  
7 stricter requirements on that criteria for accepting waste.

8 So it had a mix of things that if you did those, they may  
9 all lead you to compliance. One note is that here, when we  
10 say demonstrating compliance, we're not just talking about  
11 satisfying the quantitative criteria. We're trying to talk  
12 about providing confidence that you have done that, and I  
13 will talk about the process that was designed to attempt  
14 that.

15 [Slide.]

16 DAVIS: The basis for the SPM approach, which is  
17 philosophically different than the previous approach, is a  
18 stolen quote from George Box, which is "All models are wrong  
19 and some are useful." We're not at all attempting to say  
20 we're going to predict reality or that we're going to have  
21 the probable performance of the repository. That isn't the  
22 philosophy behind the SPM approach.

23 That goes on to lead you to say that validation  
24 gets defined as adequate, the models being adequate for  
25 purpose, contrary to that the models are an accurate

1 representation of reality. Those are very different  
2 things. One example certainly would be that as we've seen,  
3 these codes have used a one-dimensional model of the  
4 unsaturated zone. If you could defend that that was the  
5 highest release that would occur is one-dimensional and if  
6 you go to two dimensions, you're going to get dispersion,  
7 you're going to get more mixing, and the one-dimensional  
8 model says that you comply, I think that's a valid model. I  
9 think it's adequate for purpose. I think it's absolutely  
10 invalid from a scientific point of view. So those are the  
11 two different kinds of concepts.

12 This is a little bit harder one. It's also saying  
13 that reasonable assurance is defined as no credible evidence  
14 that the site violates the regulatory criteria. That's  
15 closer to absolute proof than reasonable assurance. And I  
16 would entertain the discussion that says we can provide as  
17 much proof in this program as anybody does in a court of law  
18 for any other thing we do. I don't buy the argument that  
19 you provide less assurance for this program.

20 [Slide.]

21 DAVIS: What that does is change the meaning of CCDF  
22 and the meaning of the CCDF becomes we have no evidence that  
23 the answer is out here. All of the evidence indicates that  
24 the answer is somewhere here toward lower probabilities,  
25 lower EPA sums, and we don't care. That's the hard one.

1 Once we've got past that limit in the manner that we're  
2 proposing to get past that limit, it complies and we're not  
3 going to search the scientific process or continue the  
4 scientific process to the answer, the reality.

5 [Slide.]

6 DAVIS: As far as the actual process, the hardest step  
7 in the program, which sounds similar to what some of the  
8 bullets I've seen today were for this next year's effort for  
9 Yucca Mountain, which was to stop and assess the data. And  
10 that's what the program was asked to do, to begin with  
11 defensible model assumptions and data, as defined by, first,  
12 the experimentalists. This is not the modelers. It was a  
13 very different approach.

14 For years, the modelers actually set the  
15 assumptions and they got feedback and they talked to the  
16 experimentalists. But the experimentalists, in some sense  
17 or in some cases, opted out at the end by saying your models  
18 aren't realistic, your models aren't what I would model.  
19 They weren't part of that process in their day-to-day lives.

20 So it started with the experimentalists actually defining  
21 and defending, more importantly, the assumptions and data.

22 It then went on to the project team. It didn't  
23 happen alone. It went them to performance assessment and  
24 the other players within the Sandia team and then within the  
25 DOE team, which included technical staff at DOE, as well as



1 WTAC, the technical assistance contractor, which I think at  
2 that time was SAIC, Batelle and others, who also then had  
3 feedback into this, defining and defending the assumptions.

4 And then it went one major step further. It went to the  
5 public and it went to the regulators and it asked them.  
6 Here's what we think we can defend today, what do you think.

7 In an open forum, in a very documented way.

8 And it was supposed to go to the regulators, too.

9 That's an interesting one for lessons learned. The  
10 regulator, in some sense -- this is EPA -- opted out of the  
11 program. They liked it. They said they agreed with it.  
12 They said it was a very defensible way to plan your program.

13 But they thought it showed the regulatory cards in their  
14 hand too soon, and that was the worry. It's a valid worry.

15 I think there were ways around it, but it was a valid  
16 worry.

17 The next step then is to assess compliance based  
18 on those defensible models and assumptions. Then if you  
19 didn't comply and only if you didn't comply would you gather  
20 additional data to make the models what some people would  
21 term more realistic, but only to the degree necessary to  
22 demonstrate compliance.

23 [Slide.]

24 DAVIS: Now, what does defensible mean? This certainly  
25 became one of the key hot button issues of this process.

1 Well, this is what the experimentalists were told. This is  
2 their guidance, written guidance from the program. It said  
3 experimentalists are directed to define the least, not the  
4 most, the least conservative data and models that they would  
5 defend to a group of their peers, and this is the critical  
6 part that was different from the past, without relying on  
7 future work.

8 We had always had statements in the -- a classic  
9 one for WIPP was matrix diffusion. We believe matrix  
10 diffusion really plays a big role, but there's another  
11 experiment that has to be done to prove it. That's a  
12 classic case. So they had to either defend that, that we  
13 believe it does, and quit or not defend it and not include  
14 it in the models. That was the process.

15 Then the project team and the stakeholders were  
16 asked to critique these positions and not in the way that  
17 the GCD program had. The GCD program says tell me what's  
18 worse. This is not that at all. This said tell me either  
19 way. If we've proposed something too conservative, in your  
20 view, then give us the state of knowledge that would lead us  
21 to change that in this documented review process.

22 If, on the other hand, as some of the public did,  
23 we think that you're too optimistic and here's data from  
24 this site or here's logic or inference from this site you  
25 haven't included, that position is not defensible, then that

1 was the new position of the program, if they agreed with  
2 that position.

3 Input was not just data. Input was data,  
4 information or simply logic. We didn't require the Attorney  
5 General, who was part of this, or the Assistant Attorney  
6 General of New Mexico that was part of this to come to the  
7 table with references for solubilities and say these are the  
8 new values. But we required the same thing we would have  
9 required out of the experimentalists -- logic, inference,  
10 information and/or data.

11 And then the review process was fully documented  
12 so that you could trace it all the way through. So that at  
13 least if the baseline changed, there would be the documented  
14 justification of why that baseline had changed.

15 [Slide.]

16 DAVIS: Another of the major hot button issues of this  
17 process was conservatism and what it means in this  
18 framework, because it's not the GCD framework and it's not  
19 the conservatisms in the sense that we heard earlier on  
20 TSPA-95. Well, what's the answer? There is none. There is  
21 none. And that's not believed at all by WIPP today, but  
22 there is no inherent conservatism in the process.

23 Where does it come from? Conservatism could  
24 arise, first of all, from a disconnect in your belief about  
25 safety and your knowledge about safety. I think one of my

1 fundamental conclusions out of the process was those two  
2 things were not in the same universe. The belief of WIPP  
3 safety and the knowledge of WIPP safety lived in different  
4 worlds. The entire program believed WIPP is safe, but  
5 actually producing the knowledge that defended it was not in  
6 the same room.

7 So if you believe, for example, that matrix  
8 diffusion was the thing that worked as INTRAVAL had told  
9 you, as this is a real case, the INTRAVAL group, had said,  
10 well, wait, that could be channeling in fractures, what  
11 you've seen in those tracer tests may not really be matrix  
12 diffusion. The program says we can't disprove you. That's  
13 a viable option and we haven't disproved it. Well, you've  
14 got to go back to that then. So your state of knowledge is  
15 what they've said and then you have to defend that.

16 The next one is kind of a hard one. It's that you  
17 may have a state of knowledge that is more detailed, more  
18 complex than the models allow you to simulate. Therefore,  
19 you may have to back up to some conservative simpler model.

20 You may be forced to do that.

21 What's the alternative? There really isn't one in  
22 any case. If we were doing this in Yucca Mountain, you  
23 would still model with the simpler model. It's how you  
24 build that model now, because we've said by definition, you  
25 can't build the complex one. That's why we have the

problem.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

[Slide.]

DAVIS: Another misleading idea that's coming up, and I still see it all the time, is that when you consider alternative conceptual models, it's somehow related to the notion of conservatism. For example, we had a classic case that was argued for years, I think, on the mechanism that control water moving into the salt. One side believed, and this is Dwight Deale of IT, believed that basically the liquid that you're seeing coming in now is a temporary response to actually the mechanical changes around the opening of the rooms.

And so as soon as that process was spent, you wouldn't see any more drips and seepage coming into the rooms. That was one side.

The other side believed, and this is Rick Bohime at Sandia, believed that, no, you're really seeing Darcy flow. And it's small, it's slight, it's hardly anything, but it's truly Darcy flow through the salt. This process said we don't care who's right or wrong. We will use both models, get a calculation and then pick the one with the highest release. That is absolutely not conservative, and the reason is either may be true.

We may identify an experiment that needs to be done that resolves the issue, and this was a hard one

1 because I think the experiment they identified was like a  
2 seven-year experiment to be able to resolve it, but in the  
3 end, Rick's model, that happened to lead to higher releases,  
4 may be the truth. Therefore, it's not conservative in any  
5 sense of the word, and I'd like to try to continue to avoid  
6 that problem or that perception.

7 But the other thing that it did is put both those  
8 models in, run the calculations, and say do we care. It's a  
9 nice experiment, it's a nice difference, it's a major  
10 scientific difference of opinion, but does it matter. And  
11 if it didn't affect the compliance result, we're happy to  
12 disagree forever and go forward.

13 [Slide.]

14 DAVIS: Identification of remaining issues in the SPM  
15 process started with not a road map or not a list of every  
16 possible experiment and waste package and geology and  
17 everything that you could do on earth. It didn't start in  
18 that comprehensive of a manner. It started with the  
19 assumption that after 20 years, we better have defined  
20 fairly well what we know or what we need to do. It started  
21 with that assumption

22 Well, that was documented in the experimental  
23 program plan, which had some 75 experiments. We also had an  
24 engineered alternative study which had identified various  
25 engineered alternatives that were appropriate for WIPP.

1 Then we had a study on alternative waste acceptance  
2 criteria. So that was the starting point.

3 It wasn't like going to the geologists and saying  
4 put in every shopping list or put together a shopping list  
5 of every experiment you could ever do. It was not that.

6 This is a critical step. The experimentalists  
7 again were then asked to define the answers of the  
8 experiments that they had not yet performed. That's a  
9 critical point. And they have to say -- and they do it  
10 anyway. I would always argue this anyhow, that basically  
11 they are saying I'm going to measure this because it's  
12 important, because I expect to see this. That is the  
13 process. That's how they come to us for funding, believe  
14 me, and they have for years.

15 Now they have to define the likelihood of  
16 obtaining those results. That's a different process. That  
17 is meant to weed out between the idea of simple experiments  
18 that you know you'll get the answer. You may not know what  
19 the answer is, but you know you'll get an answer. The  
20 classic case is if I take a sample of groundwater and I send  
21 it to a lab and I get back how much calcium is in it. I  
22 have a high probability I'm going to get an answer back from  
23 that. I don't know what the calcium will be. That's the  
24 first step. I don't know what that will be. I have a high  
25 probability I'll get back the answer.

1 Kind of contrast that with the matrix diffusion  
2 experiment, which was the first one of its type in the  
3 world, with seven wells. It was trying to distinguish  
4 matrix diffusion from channeling. There's a less lower  
5 probability that I can get an answer out of that at all. So  
6 those have to be incorporated into this decision analysis.

7 Now the next one is actually now what. What's the  
8 relationship of that answer to performance assessment? It's  
9 not enough just to have an answer. Is that going to go into  
10 changing a model assumption? Is it going to go into  
11 affecting a scenario probability? Is it going to go into  
12 changing a distribution or a PDF for model input? That  
13 relationship has to be tied down, a priority.

14 And, finally, this is a program that we're trying  
15 to minimize cost and schedule. So they had to put in what  
16 was the cost of that and the schedule for completion of  
17 those results.

18 [Slide.]

19 DAVIS: Finally, what I'm referring to briefly here is,  
20 I'll try to explain a little bit more, is a  
21 performance-based decision analysis which used then to  
22 identify the set of activities that most efficiently  
23 maximized the likelihood of satisfying the quantitative  
24 criteria. What the hell does that mean? Good question.

25 We used performance assessment. We used explicit



1 remuneration on performance assessment. We are talking  
2 millions of calculations of all possible combinations of  
3 activities and their outcomes to find, for the least cost  
4 and least time, which set of activities has a higher  
5 probability that will lead you to compliance. It was a  
6 achievable. That was the first iteration that we did.  
7 These calculations with these full-blown process models was  
8 achievable.

9 [Slide.]

10 DAVIS: The hardest slide. Status and results. From  
11 March 1994 to November '94, went through the entire public  
12 process of publishing those papers, reviewing the papers,  
13 sending them to the public, and then having DOE bless them  
14 as the official program technical baseline and presenting  
15 them to EPA.

16 In addition, we did this iteration to see -- to  
17 answer criticism that you could never do this many  
18 calculations and to work out the bugs of the decision logic  
19 and those things. So we did an iteration before then, which  
20 is based totally on an artificial baseline. It did turn out  
21 to be the baseline that the process was judged by, though.

22 Since then, after that time in November, the  
23 program changed the baseline that was presented to the  
24 public without public input. Second of all, they decoupled  
25 the process from compliance. And then, third, they used an

1 alternative process for getting the elicitation. So they  
2 skipped the process of actually tying the result to  
3 performance assessment. They just guessed in the end answer  
4 for performance assessment.

5 Well, what's the result? They did go forward and  
6 they got an answer, but unfortunately the answer has no  
7 value. And it's the first step that kills you. It's the  
8 step of taking it out of compliance that kills you. The  
9 analogy that I could come up with is if I told Pat Domenico  
10 to go build me a groundwater model from March to November  
11 and then I said in November I'm really not sure I'm going to  
12 like the answer, so could you take out the constraint of  
13 mass balance, would you mind taking out gravity, and pulling  
14 the rug out from under it and then going forward with an  
15 answer, because really what happened was future work, future  
16 guesses got put into the baseline. So, therefore, you could  
17 not judge the value of the answer.

18 So the good part is it's an exercise that told you  
19 maybe what not to do next time if you wanted to follow such  
20 an exercise.

21 That's it. I'll leave it there and either answer  
22 questions now or at the round table.

23 LANGMUIR: Thank you, Paul. We have time for questions  
24 for now. Questions from the Board. One thing that kind of  
25 intrigued me was your pointing out that a valid model may be

1 good enough to satisfy compliance, but be scientifically  
2 unacceptable. That bothers me, as a scientist, but I guess  
3 it makes sense.

4 I wonder if that hasn't been a problem all along  
5 with us in this program. So many scientists doing the  
6 subsystem models wanted to be satisfied scientifically and  
7 publish what they were doing in peer review journals, where  
8 other scientists would have to think they were acceptable  
9 before they're willing to hand them over to the DOE. I can  
10 see this is a major problem in a large program such as this  
11 and I guess it would require an education on the part of all  
12 of those involved in what was needed and where to stop.

13 And maybe there's two parts to what they're doing,  
14 but maybe the money won't take them as far as they want to  
15 go. Did you have these experiences with WIPP, these  
16 problems with the science engineer types within the program?

17 DAVIS: I think those problems exist today at WIPP,  
18 even with this process. There are still people that believe  
19 that the only way reasonable assurance would be achieved is  
20 if they have the confidence in their process model,  
21 regardless of the answer. I think those problems are going  
22 to go through the entire time.

23 LANGMUIR: More questions? Leon Reiter.

24 REITER: Paul, I don't know if you can answer this, but  
25 what was the rationale of the project of not pursuing this?

I don't quite understand that. Maybe you said that.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

DAVIS: I can't answer it.

REITER: You can't answer it.

LANGMUIR: John Cantlon.

CANTLON: Since the decision was not to use it in the regulatory mode, where is the project relative to its licensure?

DAVIS: Did Wendell work stuff out? I think he was here. I think it's a question for him. I'll try to say it and maybe Chris, who is involved with the program, can correct me. The project went forward, because of the 1998 deadline, with a different baseline that was meant to comply. So there's two baselines. Well, actually, there's there or four, to be honest. But there was a baseline that was originally built for this process. That baseline was altered last November, beginning last November, to finish out this process. But in parallel, a different baseline has been built to demonstrate compliance.

LANGMUIR: If we don't have any further questions now, there will be a chance to participate in discussion with Paul at the round table. Why don't we proceed with getting ready for the round table then, all of those who find their names on the list there. And I think Wendell Wert, if he would -- he's not here. Okay.

So we'll adjourn for ten minutes and return for

the round-table discussion.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

[Recess.]

LANGMUIR: We have reached the round-table stage of our meeting on TSPA. As you're aware, the topic of the round table is the uses of performance assessment.

The Board has continually urged the DOE to make greater use of TSPA in setting priorities. In our last report, we took the DOE to task on this issue and urged that they make a management and organizational commitment to develop more systematic and effective ways of using TSPA. At the last DOE technical program review, we heard a somewhat different take on TSPA. Some individuals at that meeting provoked a lot of discussion when they argued that TSPA wasn't good enough to set priorities. We are now hearing that the DOE will be relying heavily on TSPA to make its investment decision in 1999.

In the light of these different views, we would like at the round table to address the following questions.

First, can TSPA be used to set some priorities now? If so, what are its limitations? Second, how can TSPA be made more useful? Third, how valid are assessments of compliance and how can they be used?

Next, can a simplified TSPA be developed and used effectively? This has been John Garrick's view. And, finally, what challenges do the use of individual dose and

1 performance periods up to 1 million years pose and can they  
2 be met?

3 In addition to some of the speakers who  
4 participated in the previous presentations, we are joined by  
5 Norm Eisenberg of the NRC. Norm, want to raise your hand  
6 and let them know you're here? Steve Frishman of the Nevada  
7 Nuclear Waste Project Office. John Kessler of EPRI, who you  
8 met yesterday.

9 We have also asked some wise, old and young men to  
10 provide us with their views. These include Bob Bernero.

11 BERNERO: Young.

12 LANGMUIR: Former Director of the Office of Nuclear  
13 Materials Safety and Safeguards at the NRC. Chris Whipple  
14 of ICF Kaiser Engineers, who you met yesterday. He was  
15 former Chair of the Board on Radioactive Waste Management of  
16 the National Research Council. And Ben Ross of Disposal  
17 Safety.

18 We have allotted time at the beginning of the  
19 round table for those participants who have not made  
20 presentations to make a few short comments, if they so  
21 desire. Please limit yourselves to several minutes each.  
22 We're going to start with some overheads with Norm  
23 Eisenberg. Norm?

24 [Slide.]

25 EISENBERG: I'll try to be very quick, something people

1 tell me I'm not real good at. I'll try to answer the five  
2 questions that were posed very briefly. The first is can  
3 TSPA be used now to set priorities. I think so, but you  
4 have to be careful. It can't be used alone or mechanically.

5 I would say that I presume that all TSPAs have embedded in  
6 them a method or a post-process or a way to parse the  
7 results so you can determine the major contributors to risk  
8 from each scenario, each radionuclide, important variables,  
9 et cetera, as we've seen over the past couple days or  
10 certainly today.

11 I would make a distinction between TSPAs that are  
12 primarily focused on variability, and I would include in  
13 these the ones done by the NRC and the DOE, versus the ones  
14 that explicitly fold in uncertainty where, in addition to  
15 the distributions to describe parameters in future states,  
16 you fold in distributions representing alternative  
17 conceptual models, for example. That second type, I would  
18 say, is like the EPRI analysis.

19 For the ones focused on variability, you get out  
20 these identification of contributors to risk, but you have  
21 to supplement it with auxiliary analyses to identify what  
22 happens if major assumptions change. With the EPRI type  
23 analysis, you just get the results coming out. So that's an  
24 advantage of that type.

25 [Slide.]

1           EISENBERG: The limitations of TSPAs currently are  
2 many. But some of the ones affecting their use are  
3 transparency. If the analyses are not transparent, it's  
4 very hard to convince decision-makers of their worth and to  
5 base their decisions on them. You have to have appropriate  
6 support by the scientific disciplines. Sometimes the level  
7 of aggregation is a limitation. As we've heard, quite often  
8 we have to abstract the models to such a degree that it's  
9 difficult to treat or discern even certain features.  
10 Perhaps an example would be horizontal versus vertical  
11 emplacement of a waste package.

12           Of course, you need sufficient resources for the  
13 level of robustness required. Large uncertainties in  
14 bounding assumptions may mask the true behavior of the  
15 system, and this is a problem because lack of knowledge may  
16 actually reduce risks and that is not a desirable  
17 perspective on the problem.

18           Finally, there is always embedded in an analysis a  
19 compliance strategy. You've decided to put certain things  
20 into the models and leave others out and that automatically  
21 eliminates certain issues.

22           [Slide.]

23           EISENBERG: So how to make TSPA more useful -- get rid  
24 of the limitations.

25           [Slide.]



1           EISENBERG: Finally, the question was can -- I'm sorry.  
2           How valid are the TSPAs? And everybody understands, I  
3           think, that TSPAs do not predict the behavior of the  
4           repository far into the future. What they do provide is an  
5           envelope for repository performance.

6                     Basically, you can get as much validity as you  
7           need for your compliance structure and as your budget  
8           allows, but I have to caution, and I've said this many times  
9           before, the usual scientific or applied science method of  
10          validation of comparing predictions to results is not  
11          possible for most of what goes into a TSPA.

12                    [Slide.]

13          EISENBERG: And, finally, the question is can  
14          simplified TSPAs be developed and used effectively. I  
15          believe the answer is yes. However, the costs may be great  
16          because of the need to demonstrate robustness. You always  
17          come back to can we believe it. On the other hand, there  
18          may be less need to do gross simplifications because of the  
19          greater capability and decreasing costs of computation.

20                    Finally, I would mention, as alluded to at the  
21          beginning of my remarks, that PA tools should fit the  
22          application and you may need different tools for a  
23          compliance demonstration or assisting in program  
24          development, such as prioritizing or planning or input to  
25          design or other purposes.

Thank you very much.

1  
2           LANGMUIR: Thank you, Norm. You're not going to get  
3 away that easily. You've given us some guidance on what we  
4 should be doing. I'd like to ask you what you think of the  
5 Yucca Mountain program TSPA. What could they be doing  
6 they're not doing? How might they change their approach  
7 that would make you more comfortable with what they're  
8 doing? Any thoughts on that?

9           EISENBERG: Well, I think, as usual, we're quite  
10 concerned with some of the embedded assumptions in the  
11 analysis and how representative they are of the real  
12 behavior of the system and whether the results encompass  
13 enough of the physics of the system to be used in a  
14 regulatory context.

15           LANGMUIR: Can I get you any more specific? Say we're  
16 looking at Bob Andrews' list of investigations required to  
17 enhance representativeness in long-term performance. He has  
18 a table of bullets. I don't know if you've had the  
19 opportunity to look at that or not.

20           EISENBERG: I don't have it in front of me.

21           LANGMUIR: I'll loan you one.

22           EISENBERG: Did you put him up to this? I would say  
23 that this is a good start.

24           LANGMUIR: That was a great finesse. Steve Frishman, I  
25 think, would like the opportunity to speak to us and we'd

like to hear what he has to say. Steve?

1  
2 FRISHMAN: Thank you. As usual, I appreciate being  
3 invited to sit in on your round table. I feel very  
4 comfortable since I've ended up I think the last four or  
5 five times in the same seat.

6 I want to make some comments that are a little bit  
7 outside of your questions, first, and do it very quickly,  
8 but maybe suggest a new type of real-time approach to TSPA  
9 as it's been discussed in the last day-and-a-half or so.  
10 That's that with the presentations that we've heard in the  
11 last day-and-a-half, I think people in this room and  
12 especially the Board probably have the clearest picture of  
13 anyone maybe, other than a few people with the program, of  
14 at least one approach to application of TSPA in the Yucca  
15 Mountain project.

16 I think it may be useful because of the unique  
17 situation that the Board is in, it may be useful for the  
18 Board to consider very carefully what they have heard here  
19 and very seriously consider making some kind of comment to  
20 EPA, as invited by Larry Weinstock yesterday, especially  
21 since the NAS recommendation relies extremely heavily on the  
22 presumption that TSPA is very, very powerful relative to  
23 understanding Yucca Mountain.

24 I think we've heard enough in the last  
25 day-and-a-half to maybe understand better than we ever have

1 before and, as Abe says, maybe as well as we ever have the  
2 application of TSPA relative to what we know and don't know  
3 about Yucca Mountain.

4 So I would suggest, for a number of reasons, that  
5 that would be a very timely and maybe productive thing for  
6 the Board to do. You'll be in the same situation that we're  
7 in all the time, and that's that comments are due on the  
8 26th. But I'm sure that they would be glad to accept your  
9 insights after that.

10 I, too, had the same page that you referred to,  
11 Don, and what I noticed from that page and actually through  
12 the last day-and-a-half is that, not surprisingly, the  
13 highest sensitivity areas and the ones that we seem to still  
14 or DOE seems to still have the least handle on are the same  
15 ones that -- and mostly the same ones that we've known about  
16 for a long time.

17 The more sophisticated and insightful the models  
18 become, they more they tell us what we have already known  
19 for quite some time. I think the question that needs to be  
20 considered in your comments to EPA, if you're going to do  
21 them, relative to this very heavy reliance in their  
22 recommendations on TSPA is whether, as Paul was saying,  
23 whether we could ever get to the point or DOE could to say  
24 they had enough or they knew enough.

25 So I think for purposes of EPA, since they're

1 working on a site-specific rule, they've been instructed to  
2 do that, it would be very useful to try to think through  
3 suggestions about how TSPA can be built into their  
4 regulations in a way that Larry said he would like to have  
5 and in the way that DOE would like to have, too, and that's  
6 that it can actually be applied in license compliance  
7 determination, but also in a way that is not necessarily  
8 representative of what DOE thinks it can know, but one that  
9 is responsive to what should be known in order to carry out  
10 a TSPA that gets you to the level where you think you can  
11 present information with sufficient confidence to get a  
12 judgment about whether it's good enough or not.

13 There's another piece of it that sort of clogs the  
14 system and we've heard it spoken about and we're going to  
15 continue to hear about it, and I heard Abe say today that  
16 thermal loading range is narrowing to about 20 to 80  
17 kilowatts per acre. Well, that's pretty close to the range  
18 that we've all been thinking about, except it doesn't go  
19 quite as high as earlier ranges that were discussed.

20 One of the problems in having that type of a range  
21 -- and coming from another part of the program just in the  
22 last couple weeks, I was able to figure out that for  
23 purposes of EIS analysis, the plan is to hold repository  
24 capacity at 70,000 tons and, based on thermal load, vary the  
25 size of the repository.

1           Now, Abe and I went through a little extraction  
2 process in one of those meetings, where it became clear that  
3 TSPA, as it's put together now and as a database exists that  
4 is in the process of being synthesized, from what we hear,  
5 TSPA for different sized repositories is going to be based  
6 on different levels of understanding and different levels of  
7 information. I think this is something that needs to be  
8 looked at very carefully and maybe would suggest that it's  
9 time to get even more definitive about looking at thermal  
10 loading alternatives and, rather than trying to preserve the  
11 world in thinking, go after one and see if you can do  
12 anything about it and if you have a feasible system when you  
13 can.

14           But I think that needs to be fed into the  
15 regulatory structure, as well, because I don't believe that  
16 it is legitimate to have a regulation that, depending on how  
17 much information is available for one option that you might  
18 want ultimately considered, have something considered at one  
19 level of information for that, but then also throw other  
20 options out there and sort of let the regulator take its  
21 pick. That's a real pitfall that I see coming relative to  
22 the way DOE is trying to construct its TSPA and the  
23 pressures that EPA is under to get a regulation out that is  
24 responsive to what is seen as a current need.

25           So I just wanted to throw in some of those points

1 to help you consider whether you want to try to take up the  
2 challenge of maybe an alternative use of TSPA over the next  
3 few weeks. Thank you.

4 LANGMUIR: Thank you, Steve. Abe or Bob, do you want  
5 to comment?

6 VAN LUIK: It must be something in the water, but I  
7 find myself, in principal, in agreement with what Steve said  
8 and I'm speechless.

9 FRISHMAN: No wonder I'm at the edge of the table. I'm  
10 getting ready to be thrown back into the pond.

11 LANGMUIR: Anyone else at the table like to comment?  
12 Ben Ross.

13 ROSS: I'd like to pick up on something that Paul Davis  
14 said. He asked the question why aren't we done and the  
15 answer was, and I think everyone would agree with the  
16 answer, it's because we're not sure about all the  
17 assumptions that go in. Although I would make a caveat,  
18 which is that the carbon-14 that gives the high numbers was  
19 just ignored in this analysis by assumption. It wasn't  
20 proven not to be there.

21 But I think that that answer that we're not done  
22 because we're not sure of the inputs to the models gives us  
23 a guide to how we use performance assessment to guide the  
24 program. As Norm said, it's not a mechanical process. The  
25 way you use it is not so much using the sensitivities and

1 the numbers, as sometimes you can't, if you can prove  
2 something doesn't matter, volcanism, for example, then  
3 clearly you can use it directly.

4 But the main way you use performance assessment in  
5 planning the program, as I see it, is it gives you something  
6 to critique and to poke out the weak points in the  
7 assumptions, to understand what assumptions you need to make  
8 and find the weak points in them. Then once you've found  
9 the weak points in those assumptions, that's what needs more  
10 analysis.

11 One good example of that is what just was on the  
12 slide that everyone is talking about, the need for more  
13 studies of neptunium dissolution. Clearly, when you go  
14 through the model and you see that that number has such a  
15 big influence on the results, and others are more familiar  
16 with it than me, but my understanding is that the  
17 experimental basis for that is there are some assumptions in  
18 there and there's room for work. It's not as if you were  
19 looking at calcium. So that's one example.

20 I'd like to just mention another example that I  
21 found that I think is something that needs more attention  
22 and was not on the list, and that has to do with the water  
23 flow. It's closely related to the thermo-hydrology. I was  
24 very pleased to see that in this morning's presentation, we  
25 got finally a name for a parameter that was called sigma.



1 What that means is how much of the matrix has to be full of  
2 water before water starts to flow in the fractures.

3 Everyone in past modeling has assumed that that  
4 number is one, that you don't get any number -- any flow in  
5 the fractures until the matrix is saturated. Here we had  
6 another value of 0.95 that was thrown out and that was  
7 justified on the basis of non-equilibrium between fracture  
8 and matrix.

9 Well, I think even if you have equilibrium, that  
10 number is not one, in my opinion. My opinion is that that  
11 number is probably equal to the present saturation of the  
12 Topopah Springs matrix, something like 0.7, and the reason I  
13 say that is very simple. If you look at the interface  
14 between the Topopah Spring welded unit and the non-welded  
15 unit above there, you have bigger pores on the non-welded  
16 unit than in the welded unit. So if you have a capillary  
17 barrier that diverts water sideways at the bottom of the  
18 topopah springs, it can only happen if there's water being  
19 diverted out of the fractures, because if the Topopah  
20 Springs matrix is not carrying all the water it can carry,  
21 it's going to suck water right out of the non-welded unit  
22 into the welded tuff.

23 So if you find a wet zone at the bottom of the  
24 non-welded unit, which, from everything I hear, is being  
25 found, there must be more water going down through that

1 Topopah Springs unit, through the non-welded unit, than the  
2 Topopah Springs welded unit can carry.

3 So by that logic, there must be a downward flow in  
4 the welded unit equal to the matrix saturated conductivity.

5 Well, it's a little imprecise. But in any case, if you add  
6 any more water to the welded tuff there, such as  
7 condensation from gas flow, it's going to run through the  
8 fractures and not through the matrix. If that's correct,  
9 it's going to have a lot of implications. It's going to  
10 have implications for temperature because water is going to  
11 recirculate much faster and it might help provide more  
12 effective cooling of the repository. It could also have  
13 implications for the waste package because it might provide  
14 more water to drip down.

15 Now, what can we say about that? To test that  
16 experimentally, there's some things that are easy to do,  
17 which is check out the capillary barrier at the top of that  
18 unit. Other things might be very difficult. But one thing  
19 that is certainly easy to do is to run the models with  
20 different values of that parameter  $\sigma$ . I think that that  
21 is an example of where you really have to be very carefully  
22 critical of these assumptions and that's what's going to  
23 provide the best guidance for your research program.

24 LANGMUIR: Any comments from the TSPA folks?

25 ANDREWS: Let me try to comment. Bob Andrews from the

1 M&O. Ben alludes to conceptual issues of flow in the  
2 mountain. I want to emphasize that we started with the  
3 project's best estimate of conceptual understanding as of  
4 March of this year, essentially. The tunnel is still being  
5 drilled. Observations are still being made. Tests are  
6 still being performed. A lot of those tests are pneumatic  
7 tests of the type that Ben alluded to. A lot of them are  
8 looking at the aqueous phase.

9           There have been no observations of advective  
10 drips, if you will, into the ESF within any unit yet. What  
11 does that tell us? Does that tell us the flux is low? Does  
12 that tell us the conceptual model is wrong? I don't think  
13 we know yet. We're in the process -- not we, but the  
14 LBL/USGS flow model and the LANL transport model are  
15 assessing those data and revising their models.

16           We did run this sigma 0.95. We also ran sigma  
17 0.9. We didn't show those results or use those results in  
18 the TSPA abstraction for the very simple reason that the  
19 0.95 better represented some non-equilibrium dual  
20 permeability analyses that had been done at Sandia.

21           Is that reality? I don't know. It's another  
22 model. I think where I would come down is that the  
23 conceptual understanding of unsaturated zone flow and the  
24 overly used word, but reasonable representation or  
25 validation of that flow is still an issue. I think we

1 identified it as one of our number one issues and it still  
2 is.

3 ROSS: I would agree with that. I think my point was  
4 really to say that you can't conclude that something isn't  
5 important unless you look at a wide enough range of  
6 alternatives.

7 LANGMUIR: I am going to bring us back to the original  
8 outline. What I propose we do is continue the general  
9 discussion, but, although, obviously, as we get to issues  
10 that are relevant to come around the table with individual  
11 speakers, we'll do that.

12 The third person on my list to make a brief  
13 presentation was John Kessler.

14 KESSLER: I'll try to keep it brief. First of all, to  
15 respond to a statement that Norm made about EPRI's --- what  
16 did you say? We just get an answer. Well, we sure do a  
17 whole lot of work to just get an answer and I would argue  
18 that our event tree approach certainly allows us to do the  
19 same types of sensitivity analysis and we certainly have  
20 been doing that throughout the years. So I guess I don't  
21 understand your comment.

22 EISENBERG: What I meant was you more directly are able  
23 to treat alternative successful models than we can in the  
24 kind of analysis that we do, where we have to do a side  
25 calculation of perhaps calculating several CCDFs. That's

all I meant.

1           KESSLER: Okay.

2           LANGMUIR: It was a compliment.

3           KESSLER: Thanks, Norm. First of all, I'd just like to  
4 say this has been an extremely informative two days. I've  
5 really learned a lot. I compliment DOE on their advances in  
6 TSPA. There is certainly a lot of new things that I've  
7 learned.

8                         Just one comment on one of Eric's summary slides.

9           This whole idea of iterative performance assessment reminds  
10 of an old FORTRAN expression. I hope I'm not in an infinite  
11 do-loop here and that somehow there's a way out of this.

12                         I am also intrigued to find that some of our  
13 models are beginning to show a few of the same conclusions  
14 as we proceed through. That was becoming evident.

15                         Now, I guess I'd like to carefully and completely  
16 put my utility hat on as I finish my opening comments here  
17 and just start by saying, well, why is EPRI here. Why am I  
18 here? Why are we doing PA when the utilities are already  
19 contributing a large chunk of money to DOE -- well, I guess  
20 to the Congress or Congress gives some of it to DOE. And,  
21 certainly, why are we doing PA?

22                         I would guess my first comment would be the flip  
23 answer. It's certainly not for scientific enlightenment.  
24 It is because we view PA as a management tool. I think that  
25

1 it helps us find things that are important and certainly, as  
2 utilities, we want to be able to comment somehow on what we  
3 think DOE should be doing.

4 Now, obviously, if you're going to use it as a  
5 management tool, you have to be really careful, especially  
6 when we're talking about as much of a project as the Yucca  
7 Mountain effort is. I'll be the first to admit that our  
8 models are far from reality. However, I do like to comment  
9 that all models are wrong, some are useful.

10 In that case, I would like to say that certainly I  
11 endorse the idea of continuing with the synthesis of the  
12 basic data into fundamental process models. That's  
13 certainly an essential feature to support TSPA. Process  
14 model development needs to continue so that the conclusions  
15 of the TSPA remain valid or confidence is built in them.

16 However, it's becoming clear that even at the  
17 current state of affairs with TSPAs, that there are some  
18 things that we see that always seem to be important and, on  
19 the other hand, there are some things we see that always  
20 seem to be unimportant. So I'd like to address the  
21 unimportant things first.

22 That is, for the unimportant things, where is the  
23 end of the road for them? I would argue that if we're going  
24 to -- for the unimportant things, will new information, new  
25 models have any likelihood of converting those unimportant

1 things into important things. If the answer is no, we  
2 really don't think they will -- I've got "if not ..." here  
3 on my phrase. Where do we go with that? I think we're  
4 reaching an end point on those issues where DOE feels that  
5 new information, new models will still not make those issues  
6 important. Certainly, for the ones that are important, it's  
7 pretty clear.

8 So now it's time to put the waste isolation  
9 strategy, or I like to think of it more in terms of a safety  
10 case, into action. I think that DOE needs a large portion  
11 of intestinal fortitude at this point. There are some  
12 conclusions that are being reached on things that are  
13 important and unimportant.

14 And I guess I'll be brave enough to attempt to  
15 answer the question that Paul Davis said he couldn't answer,  
16 and that is why did DOE choose not go ahead with the SPM  
17 process results. I think it's pretty clear that their --  
18 well, I'll guess and say there were a lot of vested  
19 interests both within and without of the program, intended  
20 to make or want the results to come out other ways.

21 So, again, I exhort DOE to have the intestinal  
22 fortitude to act upon the waste isolation strategy they're  
23 developing that is based, in part, on some of the more  
24 definite results of TSPA at this point. So, again, the  
25 bottom line here is please use the intestinal fortitude that

1 you need to make the difficult decisions in prioritizing  
2 what is now a whole lot less money that you've had before to  
3 reduce uncertainties or whatever on those important things  
4 and to make sure that the unimportant things you're finding  
5 remain unimportant.

6 LANGMUIR: Thank you, John. How about some comments  
7 from the young Bob Bernero at this point?

8 BERNERO: And out of deference to my youth, I will stay  
9 seated. I would like to start by saying an almost  
10 contradictory thing. I'm very pleased with what I heard  
11 about TSPA-95 today, and yet I would make the comment that  
12 it is obvious that DOE is not done. The status of this work  
13 is clearly not sufficient for finality.

14 However, the quality and what's good about what  
15 TSPA-95 has is, first and foremost, in my mind, a  
16 substantial shift in the character of the work compared to  
17 the previous performance assessments. Now, it is not so  
18 much methodology development and methodology debate. Now, I  
19 think there are substantial insights into what the site is,  
20 what are the important mechanisms at the site. And I think  
21 it couldn't happen at a better time.

22 I was not here yesterday to hear the gloom and  
23 doom about the budget and the program here, but I heard it  
24 across town in another forum, from some of the same people.

25 Right now, the tunnel boring machine is, I believe, at the



1 bend and very close to the Ghost Dance fault and when  
2 drifting starts in the Ghost Dance fault region, there will  
3 be, for the first time, some very substantial knowledge  
4 about how much usable real estate is down there in the  
5 repository horizon and it's an opportunity for the design  
6 faction of DOE to really look at this design to say is this  
7 site going to be suitable, is it capable of meaningful  
8 capacity at a defensible thermal loading and so forth. This  
9 performance assessment, TSPA-95, is an extremely important  
10 tool in that process.

11 Now, I heard today about a good deal of iteration  
12 between the performance assessors and the designers, at  
13 least dialogue. The term that was used was dialogue, but I  
14 think it has to be iteration. The performance assessors now  
15 know the strengths and weaknesses, to a large degree, of  
16 their performance assessment and by engaging in iterative  
17 dialogue with the designers, I think they can assist the  
18 designers to exploit the capabilities of the Yucca Mountain  
19 site to the degree of making the best, taking the most  
20 important factors.

21 And this design, to a large extent, just grew and  
22 now you've got some real priority-setting to give attention  
23 to. Although galvanic protection doesn't get you 1 million  
24 years in the slides we saw, it buys you an awful lot.

25 It actually makes the first subsystem performance

1 criteria of NRC a trivial requirement. A 1,000-year package  
2 doesn't mean anything in this context. It doesn't provide  
3 defense-in-depth, but galvanic protection provides you a  
4 very substantial degree of certainty of long-term zero  
5 release, substantially complete containment.

6 And I think if the designers, at this juncture,  
7 can look at key parameters -- there's one, it's a pet idea,  
8 I've raised it before, about other media to be inserted  
9 perhaps inside the canisters. The interstices of the spent  
10 fuel are empty and if there were another medium in there, a  
11 cement-forming potential granular material, such that you  
12 would or might retard the mobilization of radionuclides when  
13 the package finally does fail, that might be a readily  
14 obtainable, low-cost option and it would simply be a way to  
15 exploit the circumstances of this site.

16 There are other things. One of the things when I  
17 saw galvanic protection, it buys you a very long-lived  
18 package. It's not a 1 million-year package, like the Swedes  
19 have historically pursued. But a simple, almost brute force  
20 thing. Why not put one galvanically protected package  
21 inside another? Take your carbon steel, divide it into two  
22 and put a cement medium in between the two. That is carbon  
23 steel, nobel, cement, carbon steel, nobel, cement. What  
24 would that do? Is that frivolous or is that a meaningful  
25 choice?

1 I think setting priorities, to answer your  
2 question, Don, using the performance assessment to set  
3 priorities not only on design, but also on the data,  
4 experimental data needed, I think it's extremely important.

5 It would be extremely timely now.

6 If the design can be optimized, then I think as  
7 the project goes forward, Dan Dreyfus is in the best  
8 position to know whether he's got a suitable site as soon as  
9 possible, with minimum expenditure of resources. And he's  
10 also going to be on a path to find out sooner and more  
11 cost-effectively whether it's a licensable site. I think  
12 everybody can do that.

13 I'd like to emphasize one thing. It was very  
14 enjoyable listening to the TSPM and the Paul Davis thing,  
15 the bases for the approach. There's one place where I  
16 disagree with the National Academy Committee on the Yucca  
17 Mountain standard. When they came out and they said  
18 individual risk exposure should be the test, the maximally  
19 exposed individual is not chosen, but the member of the  
20 critical population group, and then they said the regulators  
21 ought to set that in rulemaking. I don't think so.

22 I don't think the regulators should do anymore  
23 rulemaking than to state a standard with words like "in the  
24 appropriate" -- you know, the member of the critical  
25 population group in the appropriately examined biosphere,

because that's going to be specific to different sites.

1           And we all know what happened the last time the  
2 regulator, EPA, tried to avoid dealing with the biosphere by  
3 going to a quantitative release standard. That's the real  
4 reason that was done. And so I think if you go back to this  
5 thing and ask what is the basic purpose here, the basic  
6 purpose with this site, deep geologic disposal, with  
7 finely-tuned optimized engineering barrier systems and  
8 containers, the purpose is isolation. It's not transport.  
9 You're not trying to produce release. You're trying to  
10 prevent release.

11           You want to be as isolated as reasonably  
12 achievable and you want realism to be zero release. That's  
13 your goal. Your goal is containment. And you want to be  
14 able to examine that with a performance assessment not to  
15 say I'm predicting it will release exactly this much, but I  
16 have a reasonable expectation that it won't exceed this  
17 release. I want a CCDF and I want that CCDF to be well  
18 below the goals, and the goals are going to have  
19 uncertainties. Is the right goal the biosphere model that  
20 has the subsistence farmer or the biosphere model that has  
21 this feckless individual sucking out of a five-kilometer  
22 well, two liters a day of water that would taste like you  
23 know what? That's an uncertainty.

24           And climate change makes the biosphere a great  
25

1 uncertainty here. I think the real objective for the  
2 demonstration of the safety case is we have reason to  
3 believe that reality is somewhere down there near zero, it's  
4 orders of magnitude to the left of this CCDF. This CCDF  
5 fully displayed, a robust case, as far as we know, still  
6 reflecting a lot of ignorance, compared against the  
7 uncertain standard, the biosphere uncertainty, that there is  
8 margin and that margin itself, that degree -- who was it?

9           Someone had a slide up there where the EPA CCDF  
10 rectilinear one was a long way from the actual or projected  
11 CCDF. I think that that would be the right outcome for  
12 this, and that's a strong case, if you can accomplish that.

13       It is useful that TSPA-95; at least in my eyes, has given  
14 very clear perspective on some things that are no longer  
15 important and has focused on these water transport effects  
16 and so forth that I think are important.

17           LANGMUIR: Thank you, Bob. You've raised a lot of  
18 issues and made a lot of suggestions. I wonder if Chris  
19 Whipple, right next to you there, might have responses  
20 regarding the NAS recommendations.

21           BERNERO: It's my old colleague.

22           WHIPPLE: I want to point out that this is the  
23 hair-deprived corner of the table. I don't know if the  
24 seating was done that way intentionally. Well, a few  
25 comments and I will get back to -- I'll correct Bob's points

in a minute.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

First, I want to compliment the presenters today.

Having sat through a lot of PA presentations, I agree with Bob that the presentations in the past focused on how we did it and today they focused on what we learned from it, and that sure makes it a lot easier to listen to, I can tell you.

The insights and technical processes that matter came to the forefront and much more helpful for, I think, an advisory board like the TRB to have this predigested for them in this way.

A key take-home lesson for me from these presentations is that, boy, do you have to know what the standard is to know what's important. It couldn't have been clearer today that if it's a 10,000-year CCDF, one list of things matter, one list of processes, data and information matter. If it's a 1 million-year individual dose limit, a whole other set of processes matter.

The sooner that gets pinned down, the better the project will be able to move ahead with working on what matters. That's why I disagree with Bob on who should define the biosphere. I think if you make that a task that the applicant has, then we won't know for 15 years what the acceptable biosphere in an NRC licensing proceeding will be.

And if you make it the job of the EPA and NRC, we'll know

1 in two or three years. So I think for no other reason than  
2 the necessity of knowing what the rules you're trying to  
3 work under are, it ought to be taken off the back of the  
4 applicant. It's a heavy burden and I think it's fair for a  
5 regulator to carry it.

6 What was interesting to me was in listening to the  
7 discussions on the individual dose long-term case was I felt  
8 much relieved, I must say, after sweating weather, what we  
9 had recommended in that NAS report was off-track and totally  
10 unfeasible and overwhelmed by uncertainty, was, frankly, how  
11 simple things got when you were trying to do that  
12 calculation, because it became a steady-state calculation.

13 You have a percolation rate down through the  
14 mountain. You have a source term that's dependent upon that  
15 percolation rate. Then you have an underlying stream that  
16 carries the stuff away when it gets there. A lot of the  
17 fine structure in the unsaturated zone tends not to be  
18 terribly important for that performance measure. It is  
19 important for the containment requirement that has been in  
20 the standard. So I think that I took some comfort in that.

21 A key lesson is I hope somebody in the program is  
22 trying to figure out how on earth to measure the flux rate  
23 through the mountain now that you're getting a tunnel down  
24 into it. I can suspect that's not an easy thing to do.  
25 You're drying out the rock, you're blowing air so the miners

1 have enough to breathe. It's probably got some technical  
2 difficulties, but it's clearly the one parameter above all  
3 others that I've heard that matters most to long-term  
4 safety. And having a real physical measurement that you've  
5 got some confidence in goes a long way to replace plausible  
6 models.

7 Paul Davis mentioned some of the similar issue at  
8 WIPP in terms of the long-term hydrology matter, whether it  
9 was Darcy flow or just releases from a disturbed rock zone  
10 and how that was -- that experiment has been run for a  
11 number of years and it's been somewhat uninformative, not  
12 clearly able to distinguish between the two cases. But I  
13 sure think WIPP was right to try to run it. There were some  
14 problems in how it got started. I think DOE needs to look  
15 quickly at the opportunities here to make those  
16 measurements. Clearly an insight that's come out.

17 If it turns out that the percolation flux is  
18 naturally quite low, then you have a pretty good basis for  
19 believing that over the very long term, this is going to be  
20 a safe facility. If it's not, then the question becomes  
21 whether you can do something with engineering at the waste  
22 package or in the engineered barrier arena near the waste  
23 package that provides for locally low percolation fluxes by  
24 the waste. Then, again, that's an engineering design job  
25 and I don't know whether you can do it or not, but you will



1 know whether you need to fairly quickly.

2           And I certainly agree with Bob Bernero that you  
3 should make a fairly wide open set of tools. If, by putting  
4 something in the waste can, you can increase the confidence  
5 that you're in a diffusive release mode rather than an  
6 advective release mode, again, that gives you very high  
7 comfort on performance and I think there ought to be  
8 technical fixes that would do that for you.

9           Something that came out of the other results  
10 having to do with the long-term individual dose was the  
11 importance or the comparative importance of the behavior of  
12 the saturated zone. Just a few questions I had. One is  
13 why, in the long-term case, almost a steady-state case,  
14 would longitudinal dispersion make any difference. I mean,  
15 it's kind of riding over itself forward and back, but it's  
16 kind of all smeared out and averaged, I suspect.

17           Similarly, with only longitudinal dispersion, I  
18 don't know you'd get a different result at 30 kilometers  
19 than at five. Maybe I misunderstand this, but I have a  
20 picture of a tunnel going down from the groundwater to these  
21 wells.

22           There was discussion of what kind of measurements  
23 you could do to get a handle on those things and I will  
24 point out that EPA is involved in more places than it can  
25 count with recent experiments of this type, having to do

1 with contaminants inadvertently dumped into groundwater, and  
2 they've got a lot of monitoring wells tracking such things.

3 So that the general nature of plumes of contaminants for  
4 long periods of time is something we've got a lot of data  
5 on. Now, how applicable that would be to Yucca Mountain, I  
6 don't know, but it's not like we're starting from scratch  
7 here.

8 Back to the question that Don opened this summary  
9 session up with, which is how can TSPA be used to set  
10 priorities. Paul Davis' comments brought to light what I  
11 believe to be absolutely true in WIPP and true in Yucca  
12 Mountain, as well, which is that there will always be a  
13 tension between performance assessment and the specific  
14 technical programs. I've never met yet an investigator yet  
15 who didn't believe that his or her area of specialization  
16 was the most important of the project, even when it wasn't.

17 I mean, worrying about something that could be no  
18 more than two percent of the project, people nonetheless can  
19 do elegant technical work and be convinced this has to go  
20 forward for years. And someone worrying about getting the  
21 job done on a budget has to say this is fun, but it's not  
22 what we need. And PA, I think, is, by all accounts, the  
23 only real tool we have to do that. But it's hard to do in a  
24 big complicated program. Some programs develop lives of  
25 their own and PA is complicated and messy and uncertain. In

1 any case, judging from WIPP, it's not easy, but it's worth  
2 doing, to let that be the arbiter of what science should go  
3 ahead.

4 And a final point, and this kind of comes out of  
5 observing a number of things in long-term DOE programs.  
6 It's very easy for a program to come to believe that there's  
7 never time to do a good three-year experiment in a 30-year  
8 program. I can point to any number of experiments at WIPP  
9 that they don't have time to do now because they'd take five  
10 years and they didn't have time to do them ten years ago  
11 because they'd take five years.

12 I think that as much as Congress wants to hear  
13 that Yucca Mountain is going to be decided on in six weeks  
14 for ten bucks, we all know that's not true. We know there  
15 are some long-term experimental programs that really ought  
16 to go ahead. It's critical that we pick a few ones that are  
17 the most important and not be put off with the fact that  
18 they may not produce all the answers we need in a couple of  
19 years. This is a long-term activity.

20 LANGMUIR: Thank you, Chris. Lots of things to talk  
21 about and perhaps some responses from DOE. Any thoughts on  
22 the tutorial we have just gotten for you?

23 VAN LUIK: Yes. I appreciate the tutorial and I am in  
24 amazing agreement with almost everything, even the  
25 disagreement across there. I think the biosphere is kind of

1 a half-and-half type thing. We would like the regulator to,  
2 kind of what was done in 40 CFR 191, at least put some  
3 limits and guidelines in place and then we have some freedom  
4 to work within those, to ask them to specify.

5 I think someone on the NAS committee blurted out  
6 in one of the meetings just specifying the biosphere can  
7 make or break any site. I think when you look at the  
8 uncertainty in the biosphere, it really swamps some of the  
9 uncertainty in the sciences that we've been looking at  
10 today.

11 So I would endorse your recommendation that the  
12 EPA look seriously at at least putting some limits and  
13 guidelines in place.

14 I was accused a while ago of being the person who  
15 said that PA wasn't ready. If I could, at this point,  
16 respond to that, I think Bob Bernero pointed out that it's  
17 obvious that DOE isn't done and I couldn't agree more.  
18 Where I was coming from last time is that we had not yet  
19 made the direct connection between the work that was going  
20 on in the project and TSPA in '93. We deposed, the good  
21 lawyers, the principal investigators and got from them their  
22 best guess as to what was going on in the mountain and  
23 quantified that.

24 What you saw in TSPA-95 is the first step to  
25 building some more confidence in this program. The process

1 models are being built by the site program and by the  
2 engineering program. We have a list that Eric showed that  
3 we expect will come in this coming year. You heard from Bob  
4 that two have already come in. One we've already used for  
5 this TSPA.

6           Once we are grounded to what those people  
7 themselves believe based on the interpretation of their  
8 data, including what the best conceptual model is, I think  
9 at that point, and that has to be 1998 because probably  
10 there's nothing after that, at that point, we will have  
11 something that I think we will have a lot more confidence  
12 in. So that's the plan, as far as I can at this point.

13           But my comment last time was not that TSPA was  
14 useless. It's just that I was fearful that it might be used  
15 to cut off work that would show us that we have the wrong  
16 conceptual model. Until that work is done by the site  
17 program and interpreting their own data and creating the  
18 process level model that they feed to us, I would say that  
19 it would be arrogant on our part to say stop this, stop that  
20 to people who have not yet had a chance to interpret their  
21 own work.

22           LANGMUIR: Thank you, Abe. I've been holding this  
23 question. It was one that you really left hanging during  
24 the day. Namely, you're doing an analysis which is of the  
25 maximally exposed individual, or the born losers we've

called him in the program, in all of your analysis of dose.

1 You pointed out that could be a very different answer than  
2 if you were looking at the current idea that NAS has  
3 proposed of considering the average person in the critical  
4 group.

5 I guess that worries me considerably because what  
6 have we learned about all the results of the TSPA if the  
7 answers may be very different with regard to what's  
8 important and what isn't important if we take this other  
9 approach with the critical group. Can you comment on that?

10 Have you done any analyses considering the critical group?

11 He's pointing at Bob.

12 ANDREWS: Let me. All the sensitivity cases are as  
13 germane for the peak individual, maximally exposed  
14 individual at the fence as they would be for a critical  
15 group that might be existing there now in the Amargosa  
16 Valley, getting a lot of their water currently from the  
17 alluvial aquifers of the Amargosa Valley.

18 So the sensitivity analyses, the what's important,  
19 if you will, becomes the same. What becomes different, and  
20 I'm going to answer Chris' question here, is not  
21 longitudinal dispersion, but lateral, transverse, if you  
22 will, dispersion. We have right now, when you go from the  
23 fence, if you will, to five kilometers, the effects of  
24 transverse or lateral dispersion become somewhat  
25

insignificant.

1  
2           If we had included them and looked at the middle  
3 of a plume, maybe it's a factor of two, but it's not a big  
4 deal and factors of two we don't talk about, as I've said.  
5 When I go from that five-kilometer point to 30 kilometers  
6 and I mix -- well, I have dispersive effects, transverse  
7 dispersive effects, not longitudinal dispersive effects. I  
8 agree 100 percent. Longitudinal dispersion is not buying  
9 you anything in these long time frames. But transverse  
10 dispersive effects does buy you something, and I will  
11 combine with transverse dispersion lateral mixing of a range  
12 of different groundwaters that mix in those alluvial  
13 aquifers.

14           We did some things in the actual report where we  
15 tried to, back-of-the-envelope, estimate the additional  
16 mixing or dispersive effects associated with going from five  
17 kilometers to 30 kilometers. That additional factor was  
18 somewhere in the 30 to 100 range. So if I'm looking at the  
19 absolute value, not the -- the relative values are  
20 unchanging, but if I look at the absolute value of that peak  
21 dose now to a different set of people instead of this guy at  
22 five kilometers, it's a factor of 30 to 100, roughly,  
23 reduced from the values that you saw on every peak dose  
24 curve.

25           LANGMUIR: But it would not change your suggestion of

1 priorities for DOE's work for the coming years in terms of  
2 resolving the issues that you consider important.

3 ANDREWS: No. I think I had on there dispersive mixing  
4 effects in the saturated zone and definition of the  
5 biosphere. Both of those things related to that same issue.

6 LANGMUIR: Pat Domenico.

7 DOMENICO: Bob, your models are forerunners of models  
8 by Pigford, I believe. He did a lot of that stuff years  
9 ago. But it's my understanding that you don't have a  
10 transport model that can handle five to seven daughter  
11 products that can incorporate transverse spreading. Is that  
12 true? To handle all the daughter products now. I don't  
13 know that there is one available yet.

14 ANDREWS: Well, we're not modeling three-dimensional  
15 transport of radionuclides in the saturated zone. We're  
16 putting them into a 1-D.

17 DOMENICO: Tube.

18 ANDREWS: Tube. A 1-D tube does have all the daughters  
19 in there.

20 DOMENICO: But there is no model for that saturated  
21 zone, to my knowledge, that will handle longitudinal and two  
22 transverse or four transverse spreading directions available  
23 yet that can handle those daughters.

24 ANDREWS: To handle the daughters, that's correct. But  
25 if I say my key nuclides are technetium, there's no daughter



there that I'm concerned about.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

DOMENICO: Then there are models.

ANDREWS: And neptunium and the daughters are immaterial if it's neptunium that's driving things. We do have transport models.

DOMENICO: You have transport models in multi-directions.

ANDREWS: Yes.

DOMENICO: But none that handle the daughters, and does the transverse spreading, is what I'm saying.

ANDREWS: As far as I know, none that handle the daughters.

DOMENICO: Well, we have one now. I wanted to let you know we have one coming out in two months, of a graduate student.

ANDREWS: Is this a sales pitch or something?

DOMENICO: That's a pitch.

LANGMUIR: John Kessler.

KESSLER: We have one now. We've got 1-D unsaturated zone, 3-D saturated zone that handles three of our chain daughters.

LANGMUIR: Thank you. I think at this point in the schedule, we're to have public comment, if there is any. Is there anyone in the audience who would like to make a comment? Please come forward and identify yourself. This

is Judy Treichel.

1  
2           TREICHEL: Judy Treichel, Nevada Nuclear Waste Task  
3 Force. I wasn't worried about the time that it would take  
4 me to get up here because the only other concerned citizen  
5 I've seen here is Max Blanchard, and he wasn't here today.  
6 He must be concerned about something else. And I'm not  
7 going to take the 30 minutes.

8           I was interested that when the program started out  
9 today, that Abe began by referring to himself as an  
10 environmentalist, and some of my best friends are  
11 environmentalists and they say very different things from a  
12 lot of what Abe said and a lot of what we've heard here.  
13 And when you started out, Abe, you were talking about  
14 solving an environmental problem, and I'm not sure that  
15 that's ever been clearly defined exactly what this  
16 environmental problem is that we're solving.

17           And it would seem to me that if we have a serious  
18 environmental problem with commercial nuclear waste, that  
19 there should be something very seriously going on at those  
20 reactor sites, if, in fact, there are people in 109  
21 locations, as NEI so often tells us about, and they are  
22 suffering from a serious environmental problem right now.  
23 Something should be done about that. NRC should get on that  
24 and get something done about it.

25           If, in fact, Yucca Mountain is a solution, what's

1 it a solution for? Everybody that has nuclear waste is  
2 apparently looking for this panacea out there, this  
3 wonderful solution, and they all point to Yucca Mountain.  
4 And yesterday, I don't think it was here, I think it was  
5 over at NAS, Dan Dreyfus was talking about the amount of  
6 waste, that right now his calculations were showing  
7 something like total waste that he predicts would go to  
8 Yucca Mountain are about 110,000 tons, and that didn't count  
9 things like greater than Class C, other waste, special  
10 waste. I think some of them are called cats and dogs. So  
11 there was a discussion about whether or not he was low in  
12 his calculation.

13 And I don't think Yucca Mountain is that solution  
14 when you start looking at things like that. And, in fact, a  
15 lot of what we've seen here today shows that Yucca Mountain  
16 is possibly a future threat. There is all the talk about  
17 how you figure out just what a threat it is. And if, in  
18 fact, it goes from a threat to being an actual danger or a  
19 problem, it's irreversible. It's one of those things that  
20 you've done that you just can't undo.

21 If we have a serious environmental problem with  
22 nuclear waste right today and it needs to be isolated or  
23 re-isolated, we can go out there and solve that. I'm sure  
24 we can do that. If, in fact, the stuff inside Yucca  
25 Mountain, in 1,000, 10,000, 20,000 years somehow needs to be

1 re-isolated because we're starting to see that there was a  
2 problem and the PA was wrong and that the confirmation  
3 period, as Steve Brocoum often talks about, is showing us  
4 that we've just confirmed we've got a problem, I'm not sure  
5 what it is that we would do about that.

6 I liked hearing Bob Bernero use the phrase zero  
7 release. I don't know if he means it in the same way that  
8 the people I hang out with mean it. But that has been the  
9 goal and it's always been the public implication. When you  
10 see the ads in the paper that NEI runs or when you see a DOE  
11 presentation and it shows this long, high ridge mountain and  
12 people are to perceive that all of this waste is somehow  
13 underneath there, that's the picture that they get, in their  
14 head. That's what registers to them, is that the stuff is  
15 gone and absolutely no part of it ever shows up again.

16 They think zero release and they've been told  
17 historically things like it has to take longer than 1,000  
18 years for the groundwater to get out. If it's 999 years,  
19 that's too short, we walk away. If we can't prove it's  
20 safe, we walk. We're out of here.

21 So they were putting out this message that this  
22 thing was a solution. But what it looks like now is that  
23 we're trying to determine how much is wrong with Yucca  
24 Mountain and what it takes to fix it, and that's a lot of  
25 what this discussion has been. Not that it's a perfect

1 solution, but it's a place with undetermined problems and  
2 how are we going to engineer or design fixes for those  
3 problems.

4 So it just seems to me that one of the things that  
5 has to happen is for the public to be told that, yes, the  
6 stuff gets out of there. Some of decays before it actually  
7 gets out, but there's a lot of it that really gets out of  
8 there. And paint a clear picture for them about what the  
9 solution in a very open forum, one that gives them enough  
10 time, enough information, enough respect so that they can  
11 respond to it, and then find out from them if they feel that  
12 Yucca Mountain, as a solution, is less problematic than the  
13 problem. You may find out things you didn't want to hear.  
14 It may be that they don't want to buy that solution because  
15 they may see it as not being one.

16 And there is still a controversy raging out there  
17 about whether or not people actually want to bury spent  
18 fuel, and it would seem to me that before we get too far  
19 along in this thing, that we should probably decide that and  
20 probably a lot of other questions that will come up.

21 Thank you.

22 LANGMUIR: Thank you, Judy. Any further comments or  
23 questions from the audience?

24 [No response.]

25 LANGMUIR: If not, I want to thank today's speakers and

1 those of you who participated in the round table and Leon  
2 Reiter for making this job easy for me and organizing the  
3 two-day session, for this very highly informative experience  
4 I think we've all shared. We're adjourned. Thank you for  
5 coming.

6 [Whereupon, at 5:00 p.m., the meeting was  
7 concluded.]  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25