

1 NUCLEAR WASTE TECHNICAL REVIEW BOARD

2 ***

3
4 PROGRESS WITH YUCCA MOUNTAIN EXPLORATION AND
5 TESTING AND THE UNDERGROUND REPOSITORY
6 CONCEPTUAL DESIGN

7 ***

8 Days Inn Crystal City
9 2000 Jefferson Davis Highway
10 Arlington, Virginia 22202

11
12 Thursday, October 10, 1996

13
14 The Board met, pursuant to notice, at 8:30 a.m.

15
16 BEFORE:

17 JOHN E. CANTLON, CHAIRMAN
18 CLARENCE R. ALLEN, BOARD MEMBER
19 JOHN W. ARENDT, BOARD MEMBER
20 GARRY D. BREWER, BOARD MEMBER
21 JARED L. COHON, BOARD MEMBER
22 EDWARD J. CORDING, BOARD MEMBER
23 DONALD LANGMUIR, BOARD MEMBER
24 JOHN J. MCKETTA, BOARD MEMBER
25 JEFFREY J. WONG, BOARD MEMBER

1 PARTICIPANTS:

2 PATRICK A. DOMENICO, CONSULTANT
3 ELLIS D. VERINK, CONSULTANT
4 WILLIAM D. BARNARD, TECHNICAL STAFF
5 SHERWOOD CHU, TECHNICAL STAFF
6 CARL DIBELLA, TECHNICAL STAFF
7 DANIEL FEHRINGER, TECHNICAL STAFF
8 RUSSELL MCFARLAND, TECHNICAL STAFF
9 DANIEL METLAY, TECHNICAL STAFF
10 VICTOR PALCIAUSKAS, TECHNICAL STAFF
11 LEON REITER, TECHNICAL STAFF
12 MICHAEL CARROLL, STAFF
13 HELEN EINERSEN, STAFF
14 LINDA HIATT, STAFF
15 FRANK RANDALL, STAFF
16 VICTORIA REICH, STAFF

17
18
19
20
21
22
23
24
25

P R O C E E D I N G S

[8:30 a.m.]

1
2
3 DR. CORDING: This morning we are continuing with
4 our discussion and with the presentations on repository
5 operations. Our session will continue with a break but will
6 continue through to approximately 1:00 p.m.

7 As we normally do, we will have an opportunity for
8 public comment at the end of the session. We have reserved
9 time within the program for comment and questions from the
10 Board, and if time, from others in the audience after each
11 of the presentations. So we are hoping again to have good
12 discussions or time for those discussions this morning.

13 Let's continue with repository operations. We
14 received a summary yesterday of the overview of the
15 repository operations which identified a number of issues.
16 Some of those issues we will be discussing this morning.

17 The first presentation will be by Jack Bailey, who
18 was giving the presentation yesterday. The first topic is
19 on retrievability issues.

20 Jack Bailey is deputy operations manager for the
21 engineering and integration for the M&O.

22 Jack.

23 DR. BAILEY: Good morning.

24 [Slide.]

25 DR. BAILEY: As I showed you yesterday, we had a

1 series of key design issues throughout the different stages
2 of the operations of the repository.

3 [Slide.]

4 DR. BAILEY: This morning we are going to talk
5 about retrievability, which as you can see can take place at
6 any time in the waste emplacement up until the closure and
7 decommissioning.

8 [Slide.]

9 DR. BAILEY: It is always nice to start with a
10 definition from Part 60:

11 "The geologic repository operations area shall be
12 designed to preserve the option of waste retrieval
13 throughout the period during which wastes are being emplaced
14 and, therefore, until the completion of a performance
15 confirmation program."

16 [Slide.]

17 DR. BAILEY: As such, we have what we call our
18 retrievability issue, which goes on a little while. We look
19 at the development of the retrieval strategy: How easy do
20 we want retrieval to be? Because of retrieval we have to
21 make the emplacement of the waste such that we can get it
22 back out after we have placed it in. Because of the large
23 package size we are looking at, clearly we want it to be
24 reasonably accessible.

25 We need to look at the credit off-normal scenarios

1 for retrieval that are based on the design that we have;
2 under what conditions do we actually have to get it out.

3 We need to look at the development of the
4 equipment and the concept of operation of that equipment to
5 deal with these off-normal operations.

6 We have to develop scenarios for retrieval for
7 reasons of recovery of resources. What if we have to empty
8 the entire repository out? We have to be able to deal with
9 that situation.

10 [Slide.]

11 DR. BAILEY: On the lower level we have to deal
12 with the characteristics of the emplaced waste. There is
13 both heat and radiation. As we said yesterday, the drifts
14 may be as high as 200 degrees. Clearly we don't want to go
15 into a 200 degree C environment to recover the waste. We
16 have to have a means by which to handle that.

17 Of course there is a radiation environment
18 associated with the spent fuel. The long duration of the
19 retrievability period from the beginning of emplacement
20 until closure of the repository causes a great emphasis to
21 be placed on the engineering of the structure that houses
22 the material so that we can get in and get it out in a
23 reasonable period.

24 Finally, the weight of the waste package can be up
25 to 60 metric tons. It's a very large piece of equipment

1 that we have to move around.

2 [Slide.]

3 DR. BAILEY: What are the impacts?

4 As I started to allude to, the subsurface layout
5 is heavy influenced in order to have access to the packages
6 so we can come back and get them. The whole idea of a
7 horizontal repository with a large package so we can get
8 back and forth to the waste package is driven by that.

9 The emplacement mode so that we can grip them and
10 remove them should we need to.

11 It is desirable that the emplacement equipment be
12 set up so that we can emplace it and remove it utilizing the
13 same equipment. That would make some sense rather than
14 having to have a new specialized piece of equipment to get
15 it out.

16 The ground support to avoid the problems of
17 rockfall and the problems of covering the package and
18 allowing easy access. If we can make a robust ground
19 support system, that would make retrieval much easier.

20 Ventilation system, as I alluded to, in order to
21 cool the drifts down so that we can get at the packages is
22 desirable.

23 The retrieval equipment itself for the off-normal
24 conditions. How do we deal with a package that perhaps is
25 breached, has radiological problems, heat problems,

1 ventilation problems, and have to dig it out. So some of
2 the equipment is going to be very specialized perhaps based
3 on what the off-normal conditions say.

4 Finally, surface facilities in order to store the
5 waste packages either in small number because of problems
6 internal to a waste package or specific to a specific waste
7 package, or perhaps to unload the repository.

8 So several aspects of the design are impacted by
9 the retrievability issue.

10 [Slide.]

11 DR. BAILEY: What have we done recently? We
12 talked a about this a little bit yesterday.

13 The addition of the central exhaust main to the
14 repository and the ability to operate from either end has
15 helped us a good deal in this. In other words, because of
16 the central exhaust main we can now cool half a drift in
17 either direction so that we can cool the drift down into the
18 50 degree C range. That was a question from yesterday:
19 what would we really expect to operate in? More in the 50
20 degree C is what we would expect the equipment to operate
21 in.

22 If we can get into the drift and ventilation is
23 available, then we can go half a drift, ventilate that. We
24 also only have to travel a half a drift. The old design
25 which basically had entry and ventilation from only one end

1 prevented us from doing that. We could have perhaps 1000
2 meter drift that we would have to go through in order to
3 retrieve where now we have cut it back to 300 or 400 meters
4 maximum in order to get to any individual package.

5 It also will shorten the amount of airflow
6 necessary to cool down a drift in order to get to it.

7 [Slide.]

8 DR. BAILEY: Another piece of the design that we
9 have changed is the gantry/pedestal emplacement method that
10 we discussed briefly yesterday.

11 [Slide.]

12 DR. BAILEY: Here we have yet a different picture
13 of it from the side view which shows the gantry going in,
14 picking up and dropping off on small pedestals for the
15 emplacement where the gantry rides on rails slightly above
16 the pedestal that it is emplaced on.

17 Retrieval in this manner is again enhanced because
18 the gantry can be maintained outside of the drift, and if
19 there is no upset, the gantry can be sent in remotely to
20 pick up the package and bring it out. The old design from
21 the ACD allowed for wheels on railroad cars, which of course
22 you couldn't leave for 100 years and guarantee their
23 operation. In this manner we feel we have a much better
24 means of going in and getting the waste out and there are no
25 moving parts in the emplacement drift environment.

1 [Slide.]

2 DR. BAILEY: Finally, the move to a fully lined
3 drift should provide us with a much lower likelihood of
4 having rockfalls or inability to move the packages
5 throughout the drift. So we feel like we are moving in a
6 certain direction with the design performance assessment
7 with regard to cementitious material in particular that will
8 make the retrievability an inherent part of the design and
9 it into the design very usefully as opposed to being a
10 driver that forces us to do specific type actions.

11 [Slide.]

12 DR. BAILEY: The actions for the rest of the year
13 are to do some studies associated with the off-normal
14 events, looking at the design basis events that can affect
15 the waste package in a drift, to identify what the credible
16 events are so that we can design equipment to deal the
17 credible events. The events will most likely include
18 rockfalls and failures of packages, which means that
19 equipment that has to be developed is going to be those
20 things which can dig out a package, deal with the
21 radiological conditions, pick up packages and move them out.

22 Our intent is to do studies which will take those
23 design basis events, categorize them, and then set up a set
24 of equipment and/or design basis in addition to what we have
25 seen here that will allow us to have a better means of

1 achieving retrieval. We expect to have that study done in
2 May of 1997.

3 DR. CORDING: Thank you very much. It seems that
4 the opportunity to gain access from both sides of the drift
5 gives you a lot of flexibility not only in operation but the
6 possibility of retrieval. So if you are blocked in one
7 direction, you have the other way to work into the drifts.

8 DR. BAILEY: Yes. It allows for good construction
9 method, for emplacement and as well for retrieval. A great
10 deal of flexibility.

11 DR. CORDING: Comments?
12 Clarence Allen?

13 DR. ALLEN: I hate to sound like a broken record,
14 but again I would emphasize that both in emplacement and in
15 retrievability one must face the problem of earthquakes that
16 will certainly occur over a period of 100 years in the
17 drifts with accelerations approaching if not exceeding 1 G.
18 I presume it involves somehow tying these things down and
19 being able to untie them at such time as we go in for
20 retrievability. So I just urge that this issue not be put
21 off until too late in the planning procedure here.

22 DR. BAILEY: No. Your question is well founded.
23 As we go through our design basis advance we will be looking
24 at what the maximum seismic event is that the package would
25 expect to see and whether or not that creates a dislodging

1 of the package from the mounts. We will take either a
2 preventive action to keep it from moving or mitigative
3 action to be able to recover it. That would be one of the
4 events that would be considered, and I failed to mention it.

5 DR. CORDING: Jared Cohon.

6 DR. COHON: With regard to the design basis
7 events, could you say more about how you are going to
8 characterize those, and who is going to be involved in that?

9 DR. BAILEY: The design basis event program is an
10 ongoing effort at the project right now. We are looking at
11 what the design is that we are going to utilize for the
12 repository since frequently events are tied to the design,
13 the processes to identify the naturally occurring events,
14 and then the site occurring events or operationally
15 occurring events and to make up basically a very large list.
16 That list then goes through and gets evaluated by the
17 engineering department, and if necessary, the natural list
18 with regard to issues like seismic or climatology.

19 In fact we have a team established that does this
20 very thing. We walk through each one of the potential
21 events and make a determination as to whether or not it has
22 a probability of occurrence that is high enough that it
23 warrants review.

24 Of course we take into account the very low
25 probability and high consequence nature for some events, and

1 some events, if there is a very low probability of
2 occurrence, we don't include it. We basically make up a
3 list along that line. It is handled within the project.
4 Once that list is done and approved, then that becomes our
5 set of design basis events.

6 Is that responsive to your question?

7 DR. COHON: Yes. That's a very good response. It
8 raises another question, though, and that is that
9 probability which is low enough so that you can safely or
10 confidently not deal with a design basis event.

11 DR. BAILEY: You are correct. The choice of a
12 probability is a tough issue. The Part 50 part of the NRC
13 regulation generally sets some criteria associated with
14 classification of events. There in fact is a rulemaking
15 ongoing with the NRC that discussed what kind of a
16 probability we should be looking at and what type of events
17 we should be having. We are trying to stay within those
18 guides and work in that area to keep ourselves consistent
19 with regard to the NRC.

20 As I have said, we have to look at an event both
21 for its probability of occurrence and for its consequence.
22 If you have the very low probability with a very high
23 consequence, then it's an event that we have to consider.

24 DR. CORDING: John Cantlon.

25 DR. CANTLON: Sorry to have missed yesterday's

1 presentation, but earlier the model was to have remote
2 equipment doing the retrieval. Are you still wedded to
3 that?

4 DR. BAILEY: Yes, we are still wedded to the
5 remote retrieval. In fact there is a discussion on that a
6 little bit later today.

7 DR. CANTLON: The question then arises in terms of
8 the reliability decision in terms of the tradeoff using
9 remote handling equipment versus somewhat more robust
10 shielding and somewhat more dependable ventilation, which
11 would get your temperature and your radiation problems in
12 control. Is there any thought being given to that because
13 of the problem of reliability on remote handling stuff?

14 DR. BAILEY: Yes. The question associated with
15 the design basis events is what I go back to. In terms of a
16 straight retrievability, let's take some packages out of an
17 existing undisturbed drift. Remote retrieval is certainly
18 appropriate. We can send the gantry in; we can pick it up;
19 we can look with TV cameras; we can do everything we need
20 and take it out.

21 When you get to the off-normal conditions and you
22 have to go in and you have to potentially move rock, you
23 have to produce specialized ventilation systems to be able
24 to do with perhaps a breached waste package, an upset waste
25 package that may not be in a condition or an orientation

1 that you can necessarily deal with remotely. Then we would
2 have to give consideration to either sending in the TV
3 cameras and operating hydraulic units remotely. For
4 example, like the old backhoe with different attachments.
5 Send it in and put on different attachments to orient and
6 place it in position.

7 Our intent at this point is probably to still look
8 at it from a remote point of view because of the
9 radiological hazards and the thermal questions. But as we
10 go through the different design basis events we will make
11 the determination if perhaps an unseen shielded cubicle is a
12 better approach.

13 So it has not been excluded, but our preference is
14 to lean towards remote at this point in time.

15 DR. SNELL: If I may add a comment. There is a
16 tendency, I think, with retrievability to think of it in
17 terms of a future "maybe" kind of thing. The point I wanted
18 to make is that retrievability and everything necessary to
19 accomplish it is really an integral part of the design.

20 When we think about what we are going to do, we
21 have to treat retrievability as almost a normal operational
22 circumstance. Therefore, all the designs that we do and all
23 the analyses that we make are made with the thought that
24 this is something we have to do. We have to think of all
25 the things that you are mentioning.

1 Seismic is a consideration; the reliability, the
2 availability, maintainability of the equipment; readiness to
3 use it when we have to; upsets that we may have to deal with
4 and odd conditions that we know may exist at the time.

5 So it is something that will get and is getting
6 full attention and a full treatment, if you will, from an
7 engineering standpoint.

8 DR. BAILEY: I would expect that the
9 retrievability equipment would be built, placed and
10 maintained on site at the time of license. It is a
11 necessary part. It isn't something that we go build when we
12 find we need it. Some of the aspects of the off-normal will
13 have to be placed in service at the time of the license.

14 DR. CANTLON: A follow-up question. Are you
15 wedded to the retrievability gantry being a rail-based one
16 as opposed to a tire-based one?

17 DR. BAILEY: For the reference design for
18 viability assessment we are moving ahead with the railed
19 approach. It doesn't mean that we won't reconsider it in
20 the future, but currently we are going to move ahead for the
21 next couple of years with a railed approach.

22 DR. CANTLON: The rail approach presumes that an
23 event isn't going to occur to disrupt the rails.

24 DR. BAILEY: The rail will make us consider an
25 upset event with the rails and make a determination on how

1 to recover from a railed event. We recognize that the
2 railed event is one that we have to consider.

3 DR. CORDING: Thank you very much.

4 Our next presentation is on the waste package
5 physical characteristics and the presenter of that is Hugh
6 Benton, who is manager of waste package development for the
7 M&O.

8 DR. BENTON: Good morning. Thank you.

9 [Slide.]

10 DR. BENTON: There are four principal
11 characteristics of the waste package which have primary
12 effect on repository design. Those are the size, the
13 weight, the output in terms of heat, and the output in terms
14 of radiation. Jack Bailey has referred to the waste package
15 as large and heavy, and so for a few minutes I would like to
16 explain how large, how heavy, and why.

17 [Slide.]

18 DR. BENTON: I will mention the types of waste for
19 which we are designing waste packages, the disposal
20 container dimensions and its loaded weight, its weight with
21 fuel inside.

22 I will talk a little bit about the shielding
23 considerations, whether it is more efficient and better to
24 have shielding on each individual waste package or whether
25 it is better to have shielding on the transporter and not

1 have enough shielding on the waste package to provide
2 suitable personnel protection.

3 I will show you what the current designs are and
4 what the changes are from the advanced conceptual design
5 that have occurred over the last six months.

6 Finally, just a few items concerning future
7 considerations, possible additions to the reference design
8 that we may consider over this coming year.

9 [Slide.]

10 DR. BENTON: Of course we are mindful of the
11 legislative limit of 70,000 metric tons. However, the waste
12 package must be designed to accommodate all 84,000 metric
13 tons of commercial spent nuclear fuel since there is no way
14 for us to know which 63,000 of commercial spent nuclear fuel
15 or which 7,000 of defense high-level waste may come to the
16 first repository. So our designs are intended to
17 accommodate all of the commercial spent nuclear fuel that
18 exists in the 84,000 metric tons.

19 That commercial spent nuclear fuel exists in
20 293,000 assemblies of which 126,000 will be PWR and 167,000
21 will be BWR.

22 If we were to put all 84,000 metric tons into
23 waste packages with 21 PWRs and 44 BWRs per package, that
24 would take about 10,000 waste packages, 6,000 for PWRs,
25 4,000 for BWRs.

1 I mentioned the waste packages for canistered
2 commercial spent nuclear fuel. We also have as a third type
3 of waste canisters for the vitrified defense high-level
4 waste.

5 The Navy spent fuel we are calling out as a
6 separate category because it is unique. It is exceptionally
7 robust; it is fairly small in terms of weight. There are
8 only 65 metric tons of uranium in the Navy inventory. But
9 it occupies a large volume, 888 cubic meters, which is over
10 twice the volume of the next largest category of DOE-owned
11 spent fuel. So we are thinking of Navy spent fuel as a
12 separate category.

13 Then, finally, we have the rest of the DOE-owned
14 spent fuel which we are expecting will arrive in sealed
15 canisters. There are 2,670 metric tons of other DOE-owned
16 spent fuel of which about 2,100 metric tons is N-reactor
17 fuel.

18 We are doing some testing on N-reactor fuel to
19 determine its pyrophoricity or whether it is a pyrophoric
20 problem. The N-reactor fuel is low enriched and there is
21 essentially no criticality problem.

22 The remaining 570 metric tons of DOE-owned spent
23 fuel is in a large variety of types and categories, as many
24 as 150 or 200 individual types which will eventually have to
25 be individually analyzed. However, we have divided these

1 into nine general categories for the current state of our
2 analysis.

3 [Slide.]

4 DR. BENTON: Let me show you a little bit about
5 what the current designs are. This is the design for PWR
6 uncanistered fuel. It has an outer barrier and an inner
7 barrier. The outer barrier is 100 millimeters thick of
8 carbon steel A516, a corrosion-resistant inner barrier of
9 high nickel alloy, alloy 625, and I will explain in a few
10 minutes why we have gone to that.

11 Both the bottom and the upper covers are of the
12 same two materials, a corrosion-allowance material and a
13 corrosion-resistant material.

14 The outer barrier and the inner barrier are
15 fabricated together by a shrink fit method in which the
16 outer barrier is heated, the inner barrier is pushed into
17 the expanded outer barrier, the outer barrier is allowed to
18 cool and shrink around the inner barrier.

19 We have a robust design of basket consisting of
20 interlocking plates of stainless steel boron. The boron, of
21 course, for criticality control. And individual tubes of
22 carbon steel for each assembly.

23 There are also structural members around the side
24 to keep the basket structure in place.

25 That is the general shape of our current 21 PWR

1 waste package.

2 [Slide.]

3 DR. BENTON: We have a companion one which holds
4 44 BWRs. This size was selected because the diameter is
5 approximately the same as the 21 PWR and we would like to
6 keep all of the sizes as consistent as we can. This has the
7 same corrosion-allowance outer barrier and corrosion-
8 resistance inner barrier as for the PWRs. It has the same
9 basic design basket with support structure and interlocking
10 plates of stainless steel boron.

11 [Slide.]

12 DR. BENTON: For canistered spent fuel we have
13 somewhat of a generic design because we are not sure
14 at this point what exactly the canister will look like. It
15 has the same outer and inner barriers, and we are presuming
16 that the canister would hold a 21-PWR and 40-BWR. If those
17 particular capacities don't turn out to be exactly those
18 numbers, it will be no problem to analyze for the
19 disposability of some different canister.

20 In the absence of a specific design for a canister
21 we are using as surrogates the MPC conceptual design of a
22 couple of years ago and the current Westinghouse design.

23 [Slide.]

24 DR. BENTON: For defense high-level waste we have
25 a design which is again selected to be approximately the

1 same diameter as for commercial spent nuclear fuel. It
2 holds four of the Savannah River style pour canisters of
3 vitrified borosilicate glass. It has a guide to facility
4 the insertion of the canisters. It will probably have a
5 separator plate at the top to keep the canisters in place.

6 [Slide.]

7 DR. BENTON: The final basic type of design is a
8 proposal for the co-disposal of DOE-owned spent nuclear fuel
9 with defense high-level waste. This adds one additional
10 Savannah River sized pour canister to the waste package so
11 that there is a ring of five. That leaves room in the
12 center for a canister 43 millimeters in diameter for DOE-
13 owned spent fuel.

14 This particular design of basket would accommodate
15 27 research reactor assemblies in three stacks of nine each.
16 However, this basic canister in the center would accommodate
17 a fairly wide range of the DOE-owned spent fuel. We might
18 have depleted uranium inside this central canister to help
19 with our criticality control problem for some of the highly
20 enriched DOE-owned spent fuel. We could also have depleted
21 uranium outside of the central canister in among the five
22 pour canisters for the same purpose.

23 The co-disposal has the advantage that in the
24 degraded mode as the waste package proceeds from its intact
25 configuration toward the eventual rubble pile in the bottom

1 of the drift the presence of the corrosion products from the
2 pour canisters helps to dilute the effects of the highly
3 enriched DOE-owned spent fuel.

4 [Slide.]

5 DR. BENTON: As to sizes, dimensions, these are
6 essentially the dimensions of the five different types of
7 waste packages that I have shown. The dimension which would
8 control the design of the repository in both diameter and
9 length is currently the canistered 21-PWR for commercial
10 spent nuclear fuel.

11 As I mentioned, we are not absolutely sure of
12 these dimensions because we are having to use a surrogate
13 for what the eventual canisters will look like.

14 If we should decide to proceed with this proposed
15 waste package for the co-disposal of DOE-owned spent fuel
16 with defense high-level waste, that is slightly larger.
17 That would increase the diameter to two meters, and that
18 would then become controlling. As you will note, the
19 defense high-level waste canisters are much shorter, so the
20 length is not a problem, and they are also much lighter, as
21 we will see shortly.

22 [Slide.]

23 DR. BENTON: These are the weights in metric tons
24 for disposal containers loaded with their appropriate fuel
25 but without any filler material.

1 Again we see that the heaviest weight by far is
2 the canistered 21 PWR container for commercial spent nuclear
3 fuel. It is much heavier than the heaviest of the
4 uncanistered designs.

5 [Slide.]

6 DR. BENTON: Let me mention some of the changes
7 that have occurred in the waste package design since the
8 March 1996 advanced conceptual design report.

9 First of all, I mentioned the fabrication method
10 of heating the outer shell and pushing the inner shell into
11 it and then allowing the outer shell to cool.

12 The alternative was to clad the inner shell
13 material, the corrosion-resistant material, onto the inner
14 surface of the corrosion-allowance material.

15 We believe both of these methods would give us the
16 appropriate level of galvanic protection, galvanic
17 protection being necessary to ensure that until the outer
18 shell is nearly totally corroded away we do not have
19 galvanic corrosion occurring on the inner shell.

20 The primary difficulty with the cladding method is
21 cost and the cost difference is about \$56,000 per waste
22 container. We believe this method would not only save the
23 \$56,000 but also will give us an appropriate level, a very
24 good level of galvanic protection.

25 However, it hasn't been tested. We must assure

1 that we can do this. This has been done commercially. A
2 company in Cleveland called the American Tank and
3 Fabricators has performed this operation in sizes that are
4 consistent with what our waste package will be. One other
5 company has done it in pump casings, which is a little
6 different, but is confident that it can be done. However,
7 nobody has done it on a production scale, and we have to do
8 this thousands and thousands of times with an extremely low
9 defect rate and the ability to determine where the defects
10 are so that they can be corrected.

11 The second one is the change of the inner barrier
12 material from alloy 825 to alloy 625. We are quite
13 convinced that alloy 825 would satisfactorily meet our
14 requirements. However, alloy 625, both of these being high
15 nickel, highly corrosion-resistant alloys, and the
16 difference being that alloy 625 has a higher molybdenum
17 content, alloy 625 is more corrosion-resistant in severe
18 environments, particularly very low pH environments such as
19 we might encounter with microbiologically influenced
20 corrosion.

21 However, the alloy 625 is a little more expensive.
22 It has increased the cost of the total waste package in the
23 21 PWR size by \$31,000. We judged that the improved
24 performance is worth that additional cost.

25 We have changed the basket support and tubes from

1 stainless steel to carbon steel. The advanced conceptual
2 design had stainless steel. This was one of our earliest
3 changes after the ACD report came out. We were fairly sure
4 before then that we wanted to do that, but we had not had
5 time to do the analytical work of the thermal considerations
6 and the structural considerations to show that going to
7 carbon steel was the right thing to do.

8 The carbon steel gives us better strength; it
9 gives us thermal conductivity which is improved; and there
10 is a reduction in cost of about \$35,000 per container.

11 A fairly significant change was to move from
12 copper nickel to carbon steel for the outer barrier of the
13 defense high-level waste containers. Our advanced
14 conceptual design had copper nickel for the outer barrier
15 because of concern that the iron from the steel would have a
16 deleterious effect on the dissolution rate of the glass.

17 There is no question that it does have some effect
18 on the dissolution rate. However, our analysis and our
19 computations have now shown that because there is a fair
20 amount of iron around anyway from adjacent waste packages
21 and these are intended to be emplaced between commercial
22 spent nuclear fuel waste packages that we are able to go to
23 the carbon steel without any significant increase in the
24 overall dissolution rate of the glass.

25 This not only gives us a performance assessment

1 advantage because we don't have an entirely different system
2 to analyze for performance, but it also has a significant
3 cost saving of about \$67,000 per container.

4 Finally, we are evaluating DOE-owned spent fuel
5 containers. I have shown you a picture of one. We also
6 have conceptual designs for the emplacement of DOE-owned
7 spent fuel in their own independent, individual and small
8 waste packages which likely would include depleted uranium
9 as a diluent.

10 In addition to the research reactor fuel designs
11 we are working on a conceptual design for the Shippingport
12 PWR fuel and for Fort St. Vrain fuel.

13 [Slide.]

14 DR. BENTON: If I could turn now to the shielding
15 situation. The waste packages will have a fair amount of
16 shielding. They will have 120 millimeters of steel of one
17 sort or another shielding around the fuel, which does cut
18 the radiation dose significantly.

19 However, even with that the design basis waste
20 package with 21 PWRs will have these types of radiation dose
21 in rem per hour. On the surface 30 rem per hour, 2 meters
22 from the surface, 5. The defense high-level waste package
23 have even a higher dose rate of 65 rem per hour at the
24 surface and 20 rem per hour 2 meters from the surface. This
25 compares with a normal administrative limit of 5 rem per

1 hour per year for a radiation worker.

2 So without some additional shielding a person in
3 the emplacement drift would essentially receive four times
4 his annual dose in the first hour, clearly not desirable.

5 [Slide.]

6 DR. BENTON: The question is whether shielding
7 should be provided on the individual waste packages or
8 whether we should provide shielding only on the transporter
9 and essentially restrict personnel from loaded drifts.

10 Clearly the advantage of shielding the individual
11 packages would be that once the drift was cooled, either
12 naturally or artificially, down to a temperature where
13 somebody could work, such as 50 degrees centigrade, after
14 that you could have limited personnel access if the
15 individual waste packages were shielded.

16 There are clearly many advantages to being able to
17 allow personnel to go into the drifts, either for drift
18 maintenance, to take care of some off-normal event, to
19 performance confirm that what was happening in there was
20 what was expected, and for a good many other reasons.

21 The disadvantages of putting the shielding on the
22 individual packages are, first of all, since in general
23 particularly neutron shielding tends to be light it
24 decreases the thermal conductivity markedly. This would
25 increase the fuel temperature. We could exceed our 350

1 degree centigrade limit on centerline fuel temperature,
2 which would reduce cladding performance and probably
3 eliminate any possibility of being able to use cladding as a
4 viable barrier.

5 The increased size of the shielding on the waste
6 package would probably require that the drifts be increased.

7 It's a fairly significant increase in weight,
8 which would make handling difficult.

9 The shielding would perform a function during the
10 preclosure period but no function post-closure since the
11 rock is an excellent shielding once the repository is
12 closed.

13 And shielding adds to waste package cost
14 significantly.

15 [Slide.]

16 DR. BENTON: Let me put a few numbers on that.
17 This is the 21 PWR design with two types of shielding.

18 Probably the most practical shielding would be
19 concrete sheathed in stainless steel which would go on all
20 sides of the waste package.

21 A shielding which would reduce the radiation dose
22 from what I previously showed down to 20 millirem per hour,
23 which would allow a radiation worker to be in the drift
24 about one hour per day without exceeding his annual dose,
25 would have these characteristics. It would increase the

1 diameter by .4 of a meter.

2 It would increase the weight by 68 metric tons.
3 That is considerable more than a doubling of the weight of
4 the waste package.

5 And it would be expensive. One reason is we are
6 assuming that we would have to x-ray the shielding to
7 determine that there are no voids anywhere.

8 There is also some difficulty with neutron
9 shielding. The best neutron shield material can tend to be
10 pyrophoric.

11 If instead we use carbon steel -- although carbon
12 steel is a poor neutron shield, if you make it thick enough
13 you will shield against anything -- it would take 18 inches
14 of additional thickness of shield in order to reduce the
15 radiation dose rate down to the 20 MR per hour. We don't
16 really believe this is practical, but I will just mention it
17 anyway. This would increase the diameter by nearly a meter;
18 it would increase the weight by over 100 metric tons; and it
19 would be extremely costly.

20 [Slide.]

21 DR. BENTON: Let me mention a few future
22 considerations.

23 From the standpoint of the waste package alone
24 without considering the rest of the system bigger is better
25 until we reach some limit. We are currently designing using

1 a design basis fuel which will accommodate more than 90
2 percent of all of the commercial fuel that exists or will
3 exist.

4 Because of that, our design basis fuel has a
5 fairly high thermal output. Therefore, much of the fuel is
6 much cooler than that. So for fuel which was not as hot as
7 the design basis fuel we could increase the capacity of the
8 waste package from 21 PWR/44 BWR to 24 PWR/52 BWR, which
9 turn out to be the next larger size with a very efficient
10 packing arrangement. This would therefore reduce the number
11 of waste packages and reduce the cost of the waste package
12 itself. We would have to evaluate the effect of that on the
13 rest of the system, on the repository design to determine
14 whether this was the right way to go or not.

15 A fairly minor change that we will probably make
16 is for those waste packages which will have a high thermal
17 output we will probably be adding aluminum shunts in the
18 basket.

19 For DOE-owned spent fuel we are trying to reduce
20 the cost by looking at reduction, maybe even elimination of
21 the baskets inside those 43 millimeter containers.

22 We have done a great deal of analysis yet on BWRs.
23 That is scheduled for this fiscal year. We are looking at
24 the minimum practical thickness of the stainless steel boron
25 plates for BWRs that will meet both our criticality control

1 requirements and our structural requirements.

2 Finally, we are considering methods of providing
3 an additional outer barrier for those repository conditions
4 of high humidity which might occur through a decision to go
5 to a low thermal load or perhaps a high percolation flux.

6 This has been variously termed "drip shields."
7 Rather than some tent that goes over the waste package and
8 which would then probably be destroyed with the first
9 rockfall or something that would be carried down to the
10 repository separately and set over an emplaced waste
11 package, we are looking at just a continuous outer barrier
12 that goes all the way around. That could either be a fairly
13 thin layer of titanium or a sprayed-on ceramic. In FY97 we
14 will be considering which of these is most practical and we
15 hope to advance our knowledge of the possibility of the use
16 of sprayed-on ceramic.

17 Subject to your questions, that is what I have on
18 physical characteristics of the waste package.

19 DR. CORDING: Thank you very much.

20 John Cantlon.

21 DR. CANTLON: As you think about these future
22 possible increases in the size, are there any manufacturing
23 limits as you have talked to the people that manufacture the
24 thing? In other words, how big can they make them
25 efficiently?

1 DR. BENTON: No, sir, we really have not come
2 across any manufacturing limitation at all. Of course when
3 we ask the vendors, they are delighted to make it bigger.
4 The bigger the better. Our own staff analysis indicates
5 that certainly we could make them as big as reactor vessels
6 if we had to. There may be a practical limit of the shrink
7 fit design in which the available equipment in the industry
8 could handle it. But so far no limit.

9 DR. CORDING: Don Langmuir.

10 DR. LANGMUIR: We understand there has possibly
11 been some internal confusion in the program insofar as
12 Livermore was setting up to study corrosion of the 825 and
13 all of a sudden discovered that it was now 625 they should
14 be concerned about. I wondered how that is playing in. I
15 gather they have shifted gears rapidly to put the 625 in
16 their corrosion tests, but were they part of the process of
17 deciding which alloy would be considered? I gather they
18 weren't.

19 DR. BENTON: Yes, sir, they certainly were at each
20 step in the process, and they had both alloys in their plans
21 for long-term corrosion tests. The Livermore long-term
22 corrosion tests includes a test of a very broad range of
23 materials, including materials that have higher molybdenum
24 content than we are now talking about, such as Hastelloy C-
25 22. If later we should decide to go yet the next step, that

1 material would already be in the test vats.

2 Those material testing tests are getting started
3 right now. We certainly do not expect to select any
4 material which doesn't have samples in those test vats. We
5 are closely linked with Livermore on material selection and
6 material testing.

7 DR. LANGMUIR: How flexible are you at changing
8 the alloy you might use? You are going through all these
9 calculations now with 625. If they come up with a different
10 alloy -- How many different alloys are they considering?

11 The other side of that thing, not exactly related,
12 is the pH environment. You talked about it being acid. It
13 might well be extremely alkaline given all the concrete
14 surrounding the site and likely to collapse on the packages
15 through time.

16 DR. BENTON: We believe that either alloy 825 or
17 625 would perform about equally in the high pH range.

18 We are certainly flexible and could change. We
19 will probably by the end of this year decide that whatever
20 material we have is the material for VA, because we want to
21 make sure that all of our analyses are consistent with our
22 design. If later on there should be a need to change, we
23 could do it.

24 What we are talking about is a fairly minor change
25 in alloy content. We expect the basic design of the

1 corrosion-allowance outer barrier, the corrosion-resistant
2 inner barrier, which has been our basic design for some four
3 year, very unlikely to change.

4 DR. LANGMUIR: You talked about a whole series of
5 reductions and increases because of the changes in materials
6 in the inner and outer barrier. Where are you in terms of
7 net cost with the current proposed design? Are you \$31,000
8 more expensive if you use 625 instead of 825, \$35,000 less
9 expensive because you are using the 516 on the exterior? I
10 got lost in which direction were finally headed, at least at
11 the moment.

12 DR. BENTON: We are headed toward lesser cost.

13 DR. LANGMUIR: You think you will be at less cost
14 with the current design?

15 DR. BENTON: Yes, absolutely.

16 DR. LANGMUIR: What does that look like for total
17 cost in the repository now?

18 DR. BENTON: About \$350,000 per waste package for
19 the large size, 21 PWR.

20 DR. LANGMUIR: What does that make the total cost
21 in the repository?

22 DR. BENTON: If there were 10,000 of them, that
23 would be \$3.5 billion. That is the procurement cost. That
24 is not total life cycle cost.

25 DR. CORDING: Ellis Verink.

1 DR. VERINK: We were looking over the test setup
2 out a Lawrence Livermore. We found that 625 wasn't in the
3 program yet. Is it planned to be in?

4 DR. BENTON: Yes, sir. As you know from being out
5 there, they are just setting up those test vats now. In the
6 original vats, the first vats they did not have 625. 625 is
7 in the program and has been in the program. Samples are
8 coming for that and they will be starting. This is a five-
9 year test. So whether it starts a few weeks after the very
10 first samples will not make any difference in the total
11 test.

12 DR. CORDING: John Arendt.

13 DR. ARENDT: Is there a limit on the weight of the
14 package? Have you placed a limit on it? If there is a
15 limit on it, how did you arrive at that?

16 DR. BENTON: We have not placed a finite limit.
17 Any increase in the waste package is being analyzed on a
18 system-wide basis to see what the effect is on the rest of
19 the repository and whether it is appropriate to make that
20 adjustment upward or not.

21 Clearly anything like adding metallic shielding
22 down to personnel limits would require a massive redesign of
23 everything and is not currently being considered. The
24 repository is being designed for the current maximum size
25 waste package with a reasonable safety factor. We don't

1 have a hard limit imposed.

2 DR. ARENDT: Have you optimized the size of the
3 package?

4 DR. BENTON: We are certainly fairly close to
5 optimizing the size. We are now considering such things as,
6 do we achieve overall system cost savings by having a family
7 of waste packages so that up to some maximum size we could
8 put cooler fuel into larger packages and hotter fuel in
9 smaller packages? Or does that create so many complications
10 for surface facilities that that is not the right way to go?

11 We are down to the point of optimizing the total
12 system through things such as that.

13 The 21 PWR/44 BWR is clearly about the right size.
14 As I mentioned, we might be able to go just a shade bigger.

15 DR. ARENDT: Are you considering fillers at all?
16 For example, depleted uranium. Are you doing any studies or
17 do you plan on doing anything?

18 DR. BENTON: Yes, sir, we are looking at depleted
19 uranium particularly for the highly enriched DOE-owned spent
20 fuel. For the size waste packages that we are talking about
21 for commercial spent fuel we do not need depleted uranium or
22 any other filler for the design basis fuel.

23 Our design basis fuel is intended to take care of
24 more than 90 percent of the fuel. So that leaves 10 percent
25 which we can handle either by leaving the center assembly

1 out and putting in a blank or by having a slightly smaller
2 waste package or by using filler material or some other ways
3 to control a criticality.

4 We haven't decided yet which is the most optimal.
5 Depleted uranium is therefore a possibility, but filling up
6 all of the spaces in a 21 PWR waste package with depleted
7 uranium pellets adds a tremendous amount of weight.

8 DR. ARENDT: The last question may not be
9 appropriate to you but I'm not sure at what point I can ask
10 it today, so I'm going to ask it now.

11 I am very concerned, as I said yesterday, about
12 the fact that there are no standards of specifications for
13 the transport of packages to an interim storage area or to
14 Yucca Mountain. What interaction is there between the
15 design people in Las Vegas and the people in Vienna? How
16 are you interacting with the transportation people to make
17 sure that you are going to have the design information so
18 that you can design the receiving equipment properly? Are
19 you interacting with them? Is there a time limit as to when
20 that information must be available to you can factor it into
21 the design?

22 DR. BENTON: We are closely interacting with the
23 M&O in Vienna on all of these questions. So we are closely
24 integrated there.

25 The integration between either us or Vienna and

1 the individual vendors who are trying to design canisters
2 which they hope to be able to license for disposal is not as
3 far advanced because the vendors haven't yet really decided
4 what their design is going to look like. There are at least
5 four vendors that have said that they hope to have a
6 canister for disposal as well as for transportation and
7 storage.

8 What we have seen of those designs so far, we
9 don't feel that they are very far advanced as far as
10 disposal, particularly things like criticality control.
11 They do not have long-term criticality control mechanisms in
12 their designs.

13 The information from the vendors as it becomes
14 available will be available to both us and Vienna and we are
15 working together to know as much as we can about what those
16 designs will look like.

17 DR. SNELL: A little addition, if I may. We have
18 a regular interface or coordination activity, integration
19 activity as part of our normal scope of work, if you will.
20 Included in that is a regular interface with the folks that
21 have been working in Vienna. The level of effort in that
22 activity has increased substantially over the last year, but
23 there is a regular interface between our folks in Las Vegas
24 and Vienna.

25 Heretofore that interface tended to focus on the

1 MPC while it was a viable option. Currently the RSA concept
2 which is being promulgated by DOE is now coming into the
3 picture. That isn't fully fleshed out but a good deal of
4 work is being done on that regional services agent concept.
5 There will be, we expect, specifications produced that will
6 eventually end up in the procurement cycle for the RSA
7 implementation. So on a regular basis, and I'm talking
8 about weekly or biweekly interactions with east and west, we
9 are exchanging information on what they expect to use in the
10 RSA concept and what that means to us from a repository
11 standpoint. It isn't finished yet, but the conversations
12 are active and we recognize the implications for us are
13 substantial.

14 The other general comment I would like to make on
15 the waste package. I know we have presented a lot of
16 information here on the size, cost, and so forth. The waste
17 package, of course, is central to the waste isolation
18 performance of the facility. So I might comment that any
19 decisions that we make with regard to the waste package
20 designs are, first of all, focused on what is the impact on
21 performance on the repository.

22 We are doing some study work now to help us in
23 establishing the priorities in design so as to understand
24 which design options give us the most effective performance
25 or the best performance improvements on the various

1 elements, particularly the waste package.

2 We will make decisions first with a full knowledge
3 of what the performance aspects are. If the waste package
4 doesn't satisfy performance, then nothing else matters. We
5 need to satisfy performance and then we can optimize on cost
6 and other aspects.

7 The other comment I might make too in talking
8 about package size and so forth, the repository itself tends
9 to impose limitations on us in some respects. Size, for
10 example. If we look at situations where we want to lift one
11 package over another within an emplacement drift, clearly
12 the size of the drift becomes an issue, and if we talk about
13 increasing diameters, we want to do so with full knowledge
14 that we might be having implications for how big the drift
15 has to be and what kind of equipment there has to be.

16 Likewise in handling. We are talking about heavy
17 packages, as Hugh has pointed out, and heavy packages, while
18 they are within the range of handling capabilities that we
19 are familiar with, are indeed in the high end of the range
20 for handling equipment. So I think we want to look at
21 weights on packages in that light.

22 Where we can, I would like to see us stay within
23 the range of equipment capabilities that are currently in
24 use, currently known, and that will help us in terms of cost
25 and other considerations as well from the standpoint of what

1 kind of equipment systems vendors can supply without plowing
2 new ground.

3 DR. CORDING: John Cantlon.

4 DR. CANTLON: Hugh, I would like to pursue a
5 little bit the basket element of the design. First of all,
6 taking your future consideration, your last overhead, you
7 are talking about the possibility of eliminating the basket.

8 DR. BENTON: For certain types of DOE-owned spent
9 fuel. Definitely not for commercial fuel. We need the
10 basket to keep the assemblies in place, heavy assemblies.

11 DR. CANTLON: The loading of those things is going
12 to take place at the utilities.

13 DR. BENTON: The loading of the DOE-owned spent
14 fuel will presumably take place at INEL and Hanford.

15 DR. CANTLON: I understand, but the utility spent
16 fuel.

17 DR. BENTON: Yes, sir.

18 DR. CANTLON: One of the questions would be, how
19 much are you working with the utilities in terms of that
20 process?

21 DR. BENTON: Our current reference assumes that
22 the majority of the fuel will come there in transportation
23 casks and will be unloaded from the transportation cask into
24 a waste package at the repository.

25 DR. CANTLON: But canisterized.

1 DR. BENTON: Where is a canister design which is
2 submitted to the NRC or licensed by the NRC for disposal, we
3 will certainly be closely plugged in with the utilities that
4 are going to load that to ensure that it is loaded in such a
5 way that it meets the NRC requirements for disposal and
6 doesn't have to be opened.

7 DR. CANTLON: You are assuming in the early runs
8 out to the storage area that you are going to have to do hot
9 transfers then?

10 DR. BENTON: Yes, sir.

11 DR. CORDING: Ellis Verink.

12 DR. VERINK: I'm not certain what the heritage of
13 the 2 centimeter thickness on 625 was, but would there be
14 any advantage to increasing the thickness of the basket
15 elements and steel to add additional support to the 625 and
16 also to provide heat transfer?

17 DR. BENTON: And a concurrent reduction in the
18 thickness of the 625?

19 DR. VERINK: Yes.

20 DR. BENTON: We have looked at that. We haven't
21 done a full analysis of that, but we will be looking at the
22 optimization of that 625 layer. The 20 millimeters was
23 selected. Our analysis so far indicates that that thickness
24 is about right. It gives us the structural strength we are
25 looking for particularly in those conditions where it is

1 well past post-closure; it's thousands of years. We have
2 corrosion of the carbon steel, which is a robust outer
3 barrier, and then you have rockfall. We want to prolong the
4 life of the waste package by making the inner barrier
5 sufficiently strong that it will withstanding reasonable
6 rockfalls.

7 We believe that the 20 millimeter is about right,
8 although we will be doing some further analysis this year
9 and certainly before license application we will have more
10 analysis.

11 DR. CORDING: Russ McFarland has a question.

12 DR. McFARLAND: In increasing the package size,
13 not only do you increase weight but you are considerably
14 increasing the thermal output. The MPCs had a thermal limit
15 of about 14.5 kw. Wouldn't you now with a 24 PWR be up
16 around 20 kw?

17 DR. BENTON: No. We would not. We would not
18 expect to increase from 21 to 24 for that commercial spent
19 fuel which had a high thermal output. For much of the fuel
20 14.4 kw per package was the design basis. The average waste
21 package will have a thermal output of about 9. That means
22 that half of them will have something less than 9. So for
23 the cool fuel it's possible that we could increase,
24 depending of course on its effect on performance and on
25 repository design, as Dick Snell has mentioned. But not for

1 the hot ones.

2 DR. McFARLAND: There is no particular concern
3 about in the point thermal loading of having, say, a 1 kw
4 package in line with several that could be well into the
5 teens where your temperature variation along your drift
6 would be rather large?

7 DR. BENTON: We want to ensure that we keep to our
8 limits, 200 C for rock wall, 350 C for centerline
9 temperature. So as we develop the waste package and we
10 develop repository loading schemes we would stay to those
11 limits. In the long run the temperatures tend to level out.
12 Depending on the overall thermal loading, the point loading
13 concept and having a cold package next to a hot package will
14 be considered to make that that doesn't have any deleterious
15 effect.

16 Dick Snell is going to discuss that when he talks
17 about thermal loading.

18 DR. CORDING: Carl Di Bella.

19 DR. DI BELLA: I have a question about your
20 concrete shield, Hugh. You show it with a stainless steel
21 sheathing. Is that to keep the moisture in? What is the
22 purpose of the sheathing?

23 DR. BENTON: Mostly the purpose of the sheathing
24 is to provide some reasonable handling capability. Since
25 this is a heavy package, if it was just concrete on the

1 outside, we believe there would be a good deal of difficulty
2 in handling it.

3 DR. DI BELLA: Another question having to do with
4 the highly enriched uranium, that 5-package of defense waste
5 with the HEU in the middle. How much HEU would there
6 actually be in that middle container? Has anyone in OCRWM
7 given consideration to the nonproliferation or diversion
8 aspects of putting that kind of material into the
9 repository?

10 DR. BENTON: To the second question first. In the
11 overall analysis of the potential disposal of DOE-owned
12 spent fuel the proliferation aspects are being considered.
13 We are contributing to that but we are not central to that.
14 It is being considered.

15 As far as the amount of HEU that we can put in
16 there, that obviously depends on whether we are going to add
17 depleted uranium or not. If we don't add depleted uranium,
18 we can conservatively put in about 14 kilograms or a little
19 more. After we refine the analysis that can probably be
20 increased some.

21 DR. CORDING: Jared Cohon.

22 DR. COHON: I would like to go back to this
23 colloquy that you and Dick Snell and John Arendt had which
24 confused me somewhat. Dick, you said the first
25 consideration is performance. What do you mean by that?

1 How do you measure performance for this purpose?

2 DR. SNELL: What I am referring to is performance
3 in the context of TSPA. When I talk about the performance
4 of the waste package, the package itself is simply one
5 element in that whole array of TSPA elements on which we
6 will base the performance for the repository overall. In
7 other words, its ability to satisfy the regulatory
8 requirements. So I was simply referring to the fact that
9 the package being one of those key elements we need to focus
10 on that first.

11 DR. COHON: Mr. Benton, response to Mr. Arendt's
12 questions you said you were seeking the optimum for the
13 system. How do you define system here and what criterion or
14 criteria are you using to find that out?

15 DR. BENTON: As has been pointed out, the first
16 element of the system would be the overall performance of
17 the waste package to carry out its intended purpose of
18 containment of the waste, minimization of the probability of
19 criticality, and proper performance in the repository.

20 A second major consideration is the impact of
21 waste package design on the design of the rest of the
22 repository.

23 A third consideration for canistered fuel is the
24 potential impact on the rest of the system of canistered
25 fuel coming in and becoming a part of the waste package.

1 DR. COHON: The system there includes
2 transportation and handling?

3 DR. BENTON: Yes, it would include transportation
4 and handling.

5 DR. COHON: But for the first two the system was
6 the repository.

7 DR. BENTON: The overall repository system,
8 including its performance preclosure, post-closure, and the
9 design of surface and subsurface facilities. We are
10 concerned about the potential impact of waste package
11 characteristics on that system.

12 DR. CORDING: Woody Chu.

13 DR. CHU: I have a question that I think is sort
14 of related to the one that Jared just asked and related to
15 one that John Cantlon asked earlier. On the waste package,
16 if you put on the concrete shielding it would buy you a
17 worker's access one hour a day per worker at a cost of \$1.6
18 billion. In the broad sense of the word, in system terms,
19 what does that buy you in terms of operational benefits?

20 DR. BENTON: This would be a personal opinion, but
21 I believe since the current design appears to be adequate
22 using remotely operated equipment --

23 DR. CHU: I meant in the sense does that allow you
24 to deviate from the current design of having forbidden
25 worker entry, total remote? Would that allow you to ease up

1 on that? That's what I meant by "in broad terms."

2 DR. BENTON: Yes. I would think that if you had a
3 radiation environment which only allowed a worker to be in
4 there one hour a day that it would be reserved for unusual
5 reasons for entry. You would probably not want that to be
6 the norm that you expose your workers to that amount of
7 radiation.

8 DR. CHU: It might give him some benefits to
9 recover from off-normal, though.

10 DR. BENTON: For off-normal events it would
11 certainly allow access to assess the degree of off-normality
12 and perhaps to plan better how to recover from it. The
13 waste packages are being designed with attachment points at
14 both ends, which are extensions of the outer shell, so that
15 if the waste package is in an off-normal position, we
16 believe that remote equipment can latch on to it and
17 physically drag it out. Clearly if you were able to go in
18 there, that might facilitate that operation.

19 We can always go in with shatter shielding. We
20 could go in behind temporary shielding that we put in in
21 front of us so that you can at least get to the first waste
22 package with safety.

23 DR. CORDING: Bill Barnard.

24 DR. BARNARD: Hugh, I have two questions about
25 heat shrinking shells together. When you begin that

1 operation of inserting your inner shell into the outer
2 shell, how much distance do you have between the two shells?

3 DR. BENTON: After heating?

4 DR. BARNARD: After you have heated them and you
5 begin inserting one into the other.

6 DR. BENTON: I am afraid I can't give you an exact
7 answer, but I will get it for you. I would say probably on
8 the order of a quarter of an inch.

9 DR. BARNARD: That is close enough.

10 How much time do you have to complete the
11 operation before the two shells begin to bond to one
12 another?

13 DR. BENTON: This type of operation is similar to
14 what is done in making large boiler casings, or whatever, in
15 which the material is put into a furnace and heated, which
16 may take hours or even more than a day. When it is taken
17 out they will roll it. Those operations take a couple of
18 hours. Something this thick will cool fairly slowly. It's
19 not a situation where you have to take it out of the furnace
20 and immediately put the inner one in. You would have
21 considerable time. You would want to do it on the same
22 shift.

23 DR. BARNARD: Thanks.

24 DR. CORDING: Thank you very much. We appreciate
25 your presentation.

1 We are ready now for our break. We are a few
2 minutes early. We will break now until ten after ten.

3 [Recess.]

4 DR. CORDING: We are ready to continue our
5 discussion on the repository operations. The topic is
6 subsurface remote operations. Alden Segrest is making that
7 presentation. He is the manager of the MGDS development for
8 the M&O.

9 We will have two presentations. We will have
10 discussion after the first.

11 Alden.

12 [Slide.]

13 DR. SEGREST: This topic has already received
14 several questions, so hopefully the answers haven't given
15 away everything I'm going to say.

16 Talking about remote operations with the
17 repository, particularly in the subsurface area, the real
18 issue here is the application of remote handling to those
19 operations in the subsurface.

20 The subsurface environment is characterized by
21 high radiation. You have heard comments on that. If you
22 recall from Hugh's presentation, at one meter from the spent
23 fuel waste package a worker would receive his annual dose in
24 one hour.

25 The elevated temperatures during the emplacement

1 is not a problem. It's only about 50 degrees C. But when
2 you look at the later temperatures in the emplacement
3 drifts, we are up to a limit of 200 degrees C, which is
4 about like working in your oven while you are baking a
5 chicken.

6 The confined operating area with all the tunnel
7 operations, even the things we are doing right now within
8 the ESF, there are concerns with the operating area, the
9 space we have to work in. So within the emplacement drifts
10 that would be significant as well.

11 Then there are access limitations because of this
12 for the maintenance and repair tasks that need to take
13 place.

14 [Slide.]

15 DR. SEGREST: Why is the remote operations issue
16 such an important one to the repository subsurface design?

17 The emplacement drifts themselves take about 90
18 percent of the subsurface area. So the majority of the area
19 is composed of those drifts.

20 Under normal conditions, those emplacement drifts
21 will be off limits to personnel due to the heat and the
22 radiation. Once the emplacement drift is closed and no
23 longer continuously ventilated to keep the temperature down,
24 anything that would be done in there would have to be done
25 remotely unless we wanted to go through the time of a week

1 or so that it would take to cool down the emplacement drift
2 to reduce the temperature, and even then we have the problem
3 with the radiation.

4 The repository design concepts that we are working
5 with heading toward with our VA design rely very heavily on
6 successful implementation of remote systems.

7 [Slide.]

8 DR. SEGREST: In planning for the remote
9 operations in the design we are considering transport from
10 the waste handling building at the surface to the
11 emplacement drift entrance. That is just moving down the
12 tunnel with the package, at which time the package will be
13 in a shielded transporter. We do have to move down the
14 grades. It will be a locomotive moving that transporter
15 down to the drift entrance.

16 I will show you a picture in a moment or two of
17 how it occurs, but the transfer at the emplacement drift
18 entrance is a significant operation to consider. Then we
19 have to consider the emplacement of the packages, and as
20 part of our design we have to consider the retrieval.
21 Knowing that retrieval is a possibility at some point and
22 knowing that we have a requirement to design for retrieval,
23 that has to be factored into the up-front design of how we
24 actually emplace the waste itself.

25 We have operation of the rail switches and

1 emplacement drift access control doors.

2 There are performance confirmation tasks which
3 will occur as the repository is being loaded and afterwards
4 that we have to consider. We do not even have those tasks
5 clearly defined yet. That is a challenge in itself.

6 Then we have the recovery from off-normal
7 conditions. The way we have to design systems for nuclear
8 operations, we of course design them so that the off-normal
9 conditions will not occur, but then when the off-normal
10 conditions occur, we have to design to mitigate or
11 compensate for those conditions.

12 [Slide.]

13 DR. SEGREEST: Looking at the operations
14 underground, we will look at the haulage, transfer at
15 emplacement, the emplacement itself, and then the
16 possibilities for retrieval and the requirement for
17 monitoring performance confirmation. So I had to have some
18 nice color pictures. I think you have seen this one
19 already.

20 [Slide.]

21 DR. SEGREEST: This shows the operation at the
22 transfer point. The waste package itself will be moved
23 within a shielded transporter down to the entrance to the
24 drift. Of course we have to have consideration of the
25 various switches, and so forth, getting down there. It is

1 not acceptable that this locomotive could actually have an
2 operator down to this point. We would have to have
3 operation of the doors. There is a set of these doors at
4 each end of each emplacement drift.

5 Once the transporter arrives in position the doors
6 will have been opened. It will move into position. Then
7 the door on the back side of the transporter has to be
8 opened. The waste package has to be moved out of the
9 transporter into position inside the drift such that the
10 gantry can move into position to lift the waste package to
11 emplace it where it has to be put within that emplacement
12 drift.

13 [Slide.]

14 DR. SEGREEST: This particular one shows it is the
15 last waste package going into a drift. It's a little bit
16 closer view so you can see a little more of the gantry. You
17 can't pick up all the details of this, but after the waste
18 package is in place we do have a shield wall here, partial
19 wall to reduce some of the radiation coming out here to the
20 drift doors.

21 One of the issues we are looking at doing some
22 analysis on is not completed yet, but it is what the actual
23 radiation will be in the drift. With the multiple packages
24 along the drift we have got to do some analysis about the
25 reflection within the drift from the radiation from the

1 various packages all the way down the drift to see the
2 impact of it down in this area.

3 [Slide.]

4 DR. SEGREEST: Here you can see how the gantry
5 would actually lift the waste package high enough so it can
6 move over this shield wall. Currently the design is such
7 that the package can be lifted over other packages. Even
8 though there is not necessarily any reason to do it unless
9 we get into some specific retrieval situations, we do have
10 that design feature in the design at the current time.

11 [Slide.]

12 DR. SEGREEST: I will tell you that the remote
13 operations issue is something that we have just begun to
14 spend a reasonable amount of time on within the past year.
15 We started on this in FY96. We had done very little on it
16 before then within the design organization.

17 Some of the recent work that we have done. We
18 have taken a look at available technologies. We have looked
19 wherever we could for the technologies that could be or may
20 be applicable to this underground repository.

21 We have looked, of course, at the mining industry
22 first, looking at automated mining applications. The one
23 that our folks like to describe. There was a mining show in
24 Las Vegas just a few weeks ago and they were talking about
25 how from the booth there -- the equipment was there -- they

1 could operate trucks in a mine in Australia. There is some
2 precedent in the mining industry for automation. So we are
3 looking at the automated mining applications, particularly
4 those things underground because there are some unique
5 situations underground we have to deal with.

6 Within the railroad industry there is a fair
7 amount of automation with locomotive and rail systems,
8 particularly in their switchyards.

9 The primary thing we are looking at in the nuclear
10 industry is what they do within the radiation environment,
11 the type of instruments, equipment, and so forth that they
12 use in the reactor buildings that can withstand the
13 radiation.

14 There are also a lot of industrial applications
15 for automation, robot manipulators, and various controls.

16 [Slide.]

17 DR. SEGREST: We can also look at nuclear waste
18 programs. There has been some work done for the Yucca
19 Mountain project and the waste isolation project in New
20 Mexico.

21 There is a lot of DOE research that has been done
22 in the past. We are looking at some of that work with
23 respect to the intelligent mobile vehicles and the advanced
24 remote systems.

25 NASA. We always hear about work that they have

1 done with telerobotics, operator interfaces, and
2 communications. We have looked at that and looked at
3 university research.

4 So we have looked wherever we thought we could
5 find something that may be a benefit to at least start our
6 initial screen on what would be appropriate for the
7 repository subsurface operations.

8 [Slide.]

9 DR. SEGREEST: We are focusing our work in several
10 areas, primarily looking within capabilities for remote
11 communication. We want to look at the types of
12 communication we can use with remotely controlled vehicles
13 in an underground environment.

14 We are looking at the power source technology as
15 well. So we look at the control communications technology
16 as well as the power technology for how to move and
17 manipulate the gantries, how to move the locomotives.

18 We are looking at the remote systems that are used
19 in hazardous environments and giving a lot of consideration
20 to the types of electronics, sensors, and other equipment
21 that are designed and have proven successful hopefully in
22 the elevated thermal and radiation environments.

23 [Slide.]

24 DR. SEGREEST: In taking a look at all of the
25 technologies, the equipment that is available, we tried to

1 look at setting up some evaluation criteria so that we could
2 screen the systems available equipment for what makes the
3 most sense to give further consideration to in our work on
4 the repository.

5 When we look at various things with respect to
6 licensing considerations, operational considerations, we
7 have got to consider things like personnel safety,
8 functionality within the type of environment it's in,
9 reliability and maintainability.

10 We are always concerned about the reliability of
11 nuclear systems. We are going to have to prove and justify
12 their reliability in order to license the use of these
13 systems.

14 Then with respect to maintainability, as we have
15 indicated, a lot of this equipment will be operating in
16 environments where you don't just go in and work on it.
17 You've got to either remove it in order to work on it or
18 find access to it. So we want things that can be
19 maintained, that will be reliable to work within the drifts,
20 but yet we can bring them out and relatively easily maintain
21 them as necessary.

22 Proven technology is a preference. It is always
23 easier when we are trying to license something to have some
24 technology that is proven, that is available in the
25 industry. It is also preferred from the engineering

1 standpoint that we don't have to go out and develop and test
2 new things that haven't been used before.

3 We also look at the variations in active and
4 passive components to see what makes the most sense to use.
5 Where there are passive components a lot of times they are
6 preferable.

7 [Slide.]

8 DR. SEGREEST: We do expect that some customization
9 of the types of equipment controls may be required. We
10 don't want a great deal of that. We know some will, but
11 hopefully that can be minimized.

12 Looking at survivability within the environment.

13 We also have to look at the installation. This
14 will be an operating facility. We don't want things that
15 are extremely difficult or sensitive during the installation
16 process if we can avoid it.

17 Of course we do have to operate on budgets in this
18 program. So we certainly look at the installed cost,
19 including the operational and management costs associated
20 with the systems and equipment which we are designing for
21 this.

22 [Slide.]

23 DR. SEGREEST: We have taken a look at the various
24 technologies, as I indicated before. You can see the list
25 on the left are some of the various mobile communications

1 technologies that we have looked at and evaluated.

2 We have talked to vendors. We have looked at the
3 equipment, looked at things like the leaky feeder coax, the
4 laser, the microwave, looked at where these things are
5 applied, looked at how much they have been applied, what the
6 state of the technology is so that we have things there are
7 is some direct experience with.

8 The things you see on the right-hand side, the
9 direct radio control is probably the most developed way of
10 controlling vehicles and other things. That technology is
11 in use in a lot of ways.

12 The leaky feeder coaxial cable is fairly simple.
13 It is similar to the coax you might see run into your
14 televisions, running in from the cable network. It is a
15 little bit different in that the cable you would see on your
16 television probably has a woven outer metallic shield in
17 there. This is a little bit different because you want the
18 signal to actually leak through it.

19 I will let you take a look at it. When you look
20 at it, the thing you will notice, and this the thing that we
21 have noticed too, is that the materials may very well not be
22 suited to an environment such as your oven with that kind of
23 temperature over a long period. But there are things that
24 can be done perhaps as far as the materials that this is
25 constructed out of to make it reasonable.

1 This type of technology is used in mining
2 applications. There are other applications where it is
3 used. Except for the material composition for the coax, it
4 should be reasonable.

5 The slotted microwave is commonly used in
6 elevators and in mass transit systems such as metro systems.
7 It amounts to a tube. The microwave signal is sent down the
8 tube and there is a slot within the tube where an antenna
9 runs down the tube. The signal is contained there. So you
10 don't have to have nearly as many transmitters. It is very
11 effective. It is commonly used, as I say, in elevators,
12 metro systems, and things of that nature. It may be in some
13 of the little rail systems connected the concourses with the
14 main terminal in airports. So that is another one we are
15 considering.

16 The leaky feeder. We are concerned about the
17 temperature applications. The slotted microwave would not
18 be a temperature problem but the cost of the slotted
19 microwave is maybe 20 or 25 percent higher to install.

20 Those are the things we are looking at.

21 [Slide.]

22 DR. SEGREST: Looking at providing power to the
23 mobile vehicles, there are several considerations there.
24 Looking at electrical third rails, trolley wire, cable
25 reels. The cable reels we didn't particular like with the

1 distance. Batteries, conductor bars, and so forth.

2 Since I had to have an example for the mobile
3 control, I took a look at something like a conductor bar.
4 It's very simple. There are various types of them. You can
5 just about buy them at the hardware store. They are fairly
6 simple. There should not be any kind of a maintenance
7 problem. We have looked at those type of things. There are
8 numerous designs of that available.

9 Our leading candidates for the further evaluation.
10 We have got the conductor bar and the battery. Either one
11 of those could be suitable, and there are probably some cost
12 tradeoffs, and as we get further into our work we will begin
13 to make some decisions there.

14 [Slide.]

15 DR. SEGREST: To take a look at just how this
16 would work in the repository, we have got a simple diagram
17 here. This is one layout. There are numerous ways we could
18 do it. We are very early in our design here, but this
19 particular one assumes that all the controls would be at the
20 surface. Probably in the waste handling building there
21 would be an area that has the computer control consoles.

22 In this particular design the red link is the
23 fiberoptic link within the repository. This one uses radio
24 control with the radio control equipment shown at various
25 locations. Of course you would use your direct fiberoptic

1 or hardwired controls to control things like the doors and
2 the switches, and then you would use the radio equipment to
3 actually control the vehicle movement and location.

4 Of course we also show on here that you can have
5 some video equipment to aid the operator. Video cameras are
6 fairly common in use. They are actually installed in
7 reactor buildings where there is radiation so that you can
8 monitor things going on inside those buildings even when
9 access is not permitted.

10 [Slide.]

11 DR. SEGREST: The results of the recent design
12 effort. We have some preliminary conclusions. Everything
13 is pretty preliminary at this state. As I indicated, we are
14 very early.

15 Where the temperature is below 50 degrees C, which
16 is in the emplacement operations where we are moving the
17 waste packages down to the emplacement drift and putting
18 them into the emplacement drift the technology is available.
19 We are concerned about how we will apply it and what we will
20 use, but there is plenty of technology available to select
21 from. The technology is there for the control, the
22 communication, the command, and power; as far as the
23 locomotion, the various mobility, the actuators, and sensors
24 we need within the doors, within the switches, and so forth,
25 the technology is there.

1 The key areas that we are going to be working on.
2 The underground mobile communications. Even though the
3 technology is there, we do have some questions. We have
4 some concerns that we need to have answered as we make our
5 selection.

6 The mobile power. We do have some choices and we
7 need to do some design studies to try to select the
8 appropriate power.

9 Then we have got to make sure that we have
10 integrated the systems all together as far as the various
11 things that have to be controlled and operated and how they
12 work together within the repository operating scheme.

13 [Slide.]

14 DR. SEGREST: The area of the repository being the
15 emplacement drifts, once the doors are closed and the
16 temperature starts to rise, our greatest concern presently
17 -- I didn't call these available technologies. I said they
18 are promising technologies. Some work has been done but we
19 have got to do a lot more review in our selection as far as
20 the work that has been done, how conclusive it is, how
21 appropriate it is.

22 Having a high temperature is one thing, but when
23 you consider that a lot of the equipment you would like to
24 survive the 100 and 150 years, not that we necessarily think
25 that sensors, and so forth, would, but if we put in some

1 kind of a cable such as the one I showed you, we would want
2 something that would last a long duration. We would not
3 want to have to go in and replace all that system in order
4 to be able to retrieve waste or go in and replace and
5 instrument.

6 So the elevated temperature applications are of
7 concern. We are looking at some of the things with respect
8 to the new heat-tolerant electronics, the various active and
9 passive cooling systems that we could use for the motors on
10 the gantry or things of this nature, and looking at advance
11 heat insulation and heat rejection techniques.

12 So we do have a fair amount of evaluation work to
13 do there to reach some decisions.

14 [Slide.]

15 DR. SEGREST: We then also have to consider what
16 we are going to recover from off-normal conditions.

17 We have looked at various equipment failures that
18 could occur. The ones that we have got here, the
19 derailment, stuck isolation doors, loss of power, loss of
20 communication, we have to consider what will happen if any
21 of those things occur. If the gantry is moving down the
22 emplacement drift carrying a waste package, what happens if
23 we lose power, if we lose communication? What do we do
24 about it? What is the effect of it? How do we recover from
25 it? So we are taking a look at that, studying that as far

1 as how to deal with it.

2 The systems that we deal with we can deal with
3 with respect to redundancy and backup systems to ensure the
4 safety and reliability.

5 After we have done all our design to ensure the
6 safety and reliability, then we have got to assume that they
7 are not that reliable; something fails, so we have to go in
8 and recover from that event. So we would have to have
9 plans, procedures, processes, whatever in place so that we
10 can go in and remove a vehicle which may be stopped in an
11 inaccessible area.

12 [Slide.]

13 DR. SEGREST: Some of the activities we have
14 planned in FY97 are going to focus primarily on the remote
15 handling concepts for the subsurface waste package handling
16 equipment, communications and power supplies, and for the
17 mobile remote power communication control systems within the
18 elevated thermal environment.

19 So we are going to continue during FY97 to advance
20 our understanding and hopefully head towards some actual
21 selections of at least our preliminary design in this area.

22 That concludes that I have on that subject.

23 DR. CORDING: All right. We have time for
24 questions.

25 John Cantlon.

1 DR. CANTLON: I take it from your drawings there
2 that you produced that it would be the intent as soon as a
3 drift is filled or indeed even as individual containers are
4 put in the radiation doors will be closed, so that except
5 when you are loading or unloading in a drift the radiation
6 doors will be closed.

7 DR. SEGREST: Yes.

8 DR. CANTLON: Is the design such that ventilation
9 continues?

10 DR. SEGREST: As long as we are emplacing in a
11 drift it will be fully ventilated. Once we stop the
12 emplacement in that drift when it's full, then it is no
13 longer necessary to have full ventilation. There will
14 probably be I guess what we refer to as some ventilation
15 leakage, or whatever. So it's not a sealed door.

16 DR. CANTLON: What are the negatives? Is it a
17 matter of possible safety leakage into the ventilation
18 system, or are you actually trying to speed up the heating?
19 Why don't you maintain ventilation so that you don't get
20 drift to drift heating?

21 DR. SEGREST: With a large number of drifts in
22 service and actually loaded with emplaced waste the
23 requirements for the airflow would be rather large. It
24 could get rather significant as far as the expense of having
25 the ventilation equipment and operating that ventilation

1 equipment over long periods of time.

2 DR. CANTLON: But you will have enough energy to
3 get a kind of thermal drive in the ventilation system, won't
4 you?

5 DR. SEGREEST: Perhaps some. I don't know how
6 much.

7 DR. CANTLON: What I am asking is, are you going
8 to close it off so you don't even get the non-driven
9 ventilation taking place? In other words, you can hold the
10 heat down until you get a sizable portion filled off and you
11 close off a whole section.

12 DR. SEGREEST: There will be some circulation
13 through there but fairly minimal. I haven't reviewed the
14 analysis on the ventilation system to give you a real
15 definitive answer on that.

16 DR. CANTLON: In the remote operating systems is
17 there a mechanical backup for all of them? Are you
18 visualizing every remote operating system will have a
19 mechanical backup?

20 DR. SEGREEST: It's a little bit early. We haven't
21 done that yet. We are looking at redundancy, we are looking
22 at ways to recover, but we are very early on our design on
23 this. So we haven't necessarily put in mechanical backups.

24 DR. CANTLON: Being a gadget negative person
25 myself, I guess I am much more comfortable if there is a

1 handle.

2 DR. SEGREST: There would certainly be backups on
3 things like the control doors, on the switches. There would
4 be some things there. As far as having a mechanical backup,
5 if an operator had to get access to it within a drift, that
6 might be rather difficult. It's the the type of thing we
7 are spending a lot of time evaluating and we are getting
8 ready to make some decisions, but it's a little early.

9 DR. CANTLON: Murphy's law: if it can happen, it
10 will.

11 DR. SEGREST: Yes.

12 DR. CORDING: Going back briefly to that item on
13 the ventilation, are you at present not going to consider a
14 long-term ventilation option or is the program not going to
15 consider that?

16 DR. SEGREST: The assumed operating configuration
17 at the present time -- of course the ventilation system
18 operates. It's there. It's available for the 100 to 150
19 years, however longer. The assumption right now is that
20 once we have completed loading in a drift we go ahead and
21 close the doors and then there is some small amount of
22 ventilation. That is where we are headed at the present
23 time.

24 There is some work being done, I guess by PA and
25 Science, with respect to maybe we want to continue the

1 ventilation longer because of some advantages it may gain,
2 but even though that is being considered we are not
3 designing for that at the moment. That would be a
4 significant increase in the capital cost for the ventilation
5 system, and so forth.

6 DR. CORDING: Is it something you think could be
7 accommodated if necessary?

8 DR. SEGREEST: Certainly.

9 DR. CORDING: Don Langmuir.

10 DR. LANGMUIR: Alden, you have described a number
11 of options that are being considered -- this is overheads 14
12 and 15 -- for mobile vehicle power technologies. Among them
13 I see a number of bare metals exposed for long periods of
14 time. These would include, if I am right, the electrical
15 third rail, the trolley wire, the conductor bar.

16 DR. SEGREEST: Yes.

17 DR. LANGMUIR: I could see how those if they are
18 being used repeatedly and frequently could stay clean, but
19 in 100 percent humidity and 200 degrees celsius, or whatever
20 it is going to be, I expect to see corrosion products on the
21 surfaces of these conductor materials. For example, the
22 copper is likely to have copper oxide at 200 and copper
23 carbonate on it below 100.

24 If you are depending upon direct contact for
25 conductance to a vehicle, aren't you going to have some

1 problems with these metals if they are left for decades
2 unused and then all of a sudden you have to use them for
3 retrieval and they are coated with some sort of a
4 nonconducting secondary product?

5 DR. SEGREST: In order to use the third rail and
6 so forth we would have to have some satisfactory method of
7 cleaning it before we went in, and that could be done with
8 some remote operation as well. We would either use that or
9 we may actually be leaning toward the batter power. The
10 expense of installing the third rail or the electrical
11 conductor bar, even though relative, they are not expensive,
12 but when you consider that they are installed to use them
13 and then 20 or 30 years later before you want to use them
14 again, then it may not be justifiable. So those things are
15 being considered, yes, sir.

16 DR. LANGMUIR: What kind of batteries are happy at
17 200 degrees celsius with liquid electrolytes?

18 DR. SEGREST: That is a good question. I can't
19 answer that for you other than to say that we are reviewing
20 the technologies of what is available. We also have to
21 consider the amount of time that the vehicle would be in the
22 drift at that temperature. We also have the option of
23 cooling the drift. If we are actually moving a package out
24 for some reason, then we would cool that drift back down to
25 in the range of 50 degrees C.

1 When we look at our performance confirmation
2 activities and some of the things that we will need to do
3 there, we will probably be sending some kind of -- I don't
4 really want to refer to it as a vehicle; it may be -- but we
5 will send some kind of a device into the drift without
6 reducing the temperature perhaps to take some readings or
7 maybe remotely replace an instrument or something of this
8 nature.

9 We are considering the technology and we will have
10 to consider how much time it has to spend in the drift and
11 see what cooling or alternative things we can come up with.

12 DR. SNELL: A comment to supplement what Alden is
13 saying. I think one of the things we are going to have to
14 do in connection with the design is develop a -- first of
15 all, we will look at reliability, availability,
16 maintainability, and inspectability, for that matter. We
17 are going to have to develop an operating and maintenance
18 strategy and an operating and maintenance plan for the
19 facility. You do this conventionally with lots of
20 facilities. For this one it takes on some interesting
21 implications because of the long life.

22 Don, the kind of question you are asking is a
23 question that has to be asked and answered, because we are
24 looking at a facility that is going to remain accessible for
25 100 years or more. So questions about what condition are

1 the materials in on systems that we have to use and how we
2 are going to deal with that I think need to be answered well
3 before we ever get to the point of constructing and
4 operating this place.

5 The question is a good one and we will have to
6 answer that and many like it and commit those to writing. I
7 think we will have to make those decisions as we go forward.
8 As Alden says, we are just getting into some of those
9 considerations now, but we will be addressing them in a
10 comprehensive way, I would say.

11 DR. CORDING: We have a question from Jeff Wong.

12 DR. WONG: I recognize that this is only a
13 preliminary design, but I was looking at the picture and
14 just kind of wondered. It looks like the gantry is behind
15 the door and therefore in the hostile environment. How is
16 that you are going to service that gantry if it needs to be
17 serviced?

18 DR. SEGREST: That gantry would not remain in that
19 drift. That gantry would be put in the drift while that
20 drift is being filled, and then that gantry can be removed
21 from the drift and taken to the next drift and used there.
22 So the gantry will move from drift to drift. So it will not
23 stay inside. It can be removed.

24 DR. CORDING: Carl Di Bella.

25 DR. DI BELLA: Leaving the temperature and

1 radiation considerations aside for the moment and thinking
2 only about emplacement, what is the closest existing
3 application you have for this remote emplacement with a
4 similar degree of complexity? You are picking up and moving
5 and precisely placing packages of different sizes and
6 perhaps tying them down. What have you found so far in your
7 screening studies that is close to that?

8 DR. SEGREST: I can't give you a good direct
9 answer to that.

10 Dan, do you know which ones they were looking at?

11 He was shaking his head. So he may not either.

12 DR. MCKENZIE: This is Dan McKenzie with the M&O.
13 I don't believe there are any direct analogies. There is
14 certainly a lot of precedent for moving loads like this and
15 moving them around with great precision, but a repository is
16 kind of a one-of-a-kind deal. Everything we do is going to
17 be an adaptation of existing technology, and that is what we
18 are looking at here.

19 DR. CORDING: John Cantlon.

20 DR. CANTLON: When you are working with the
21 management cost estimates, are you working with any kind of
22 assumed frequency of out-of-normal events, or are you just
23 setting those aside?

24 DR. SEGREST: The primary thing we are working
25 with right now as far as the cost estimates, we have started

1 looking at the procurement and installation cost. We have
2 started thinking about the survivability, reliability and
3 maintainability. The first thing we are looking at, and we
4 really haven't gone very far beyond it, is just the
5 installation and procurement cost of the various systems.

6 DR. CANTLON: So eventually as you try to get
7 realistic numbers you are going to have some kind of a
8 prediction of what types of out-of-normal events you are
9 going to encounter and try to plug those into what-if costs?

10 DR. SEGREST: Yes. That is a significant part of
11 it. We will probably start on some of that this fiscal
12 year.

13 DR. CORDING: Woody Chu.

14 DR. CHU: Would those costs then be part of the
15 cost estimate that will be part of the viability assessment?

16 DR. SEGREST: Those costs are probably noise
17 within the system relative to some of the other things we
18 are considering on waste package. We will certainly start
19 looking at putting in the various costs for the remote
20 systems, for the control systems, and the costs do include
21 the capital cost as well as the operating cost over the
22 period. So, yes, they will be included.

23 DR. CORDING: Dan Metlay.

24 DR. METLAY: Focusing on the hardware, have you
25 looked at some of the recent work that has been done on the

1 issues associated with operating high reliability
2 organizations?

3 DR. SEGREEST: High reliability organizations?

4 DR. METLAY: There has been some work on things
5 like organizational requirements for things like nuclear
6 aircraft carriers, for maintaining the safety of the nuclear
7 weapons systems. There is a whole set of issues that deal
8 with how you organize high reliability organizations, and
9 presumably you are interested in that kind of a question for
10 a repository.

11 DR. SEGREEST: We will be; I guess we are now; but
12 it hasn't gotten high enough on our screen right now. With
13 looking at the overall repository operations, so much is
14 laid out, organizations to see how many people it will take
15 to operate such a facility, but as far as getting into the
16 details of the organization, it is a little bit earlier for
17 what we are doing.

18 DR. CORDING: Bill Barnard.

19 DR. BARNARD: Alden, you mentioned that you have
20 talked to a lot of people who have had some experience with
21 different components of the system. Have you ever gotten
22 together in sort of an advisory group or brainstorming group
23 where all these people that work with components have gotten
24 together and you have presented this to them and said, well,
25 how is it all going to work when you put it together, or is

1 it going to work?

2 DR. SEGREST: We haven't done that yet, no, sir.
3 That is something that would be wise to do when we start
4 trying to integrate the system to make sure how it will
5 operate with the various components, the various types of
6 control. It would be most wise to do when we get to that
7 stage, yes.

8 DR. CORDING: All right. I think we are ready to
9 proceed to the next discussion. This part is on drift
10 stability and maintenance, long-term maintenance. Alden
11 will also be presenting this one.

12 [Slide.]

13 DR. SEGREST: This is a little overview of what I
14 plan to talk about: The description of the drift stability
15 issue and long-term maintenance of drifts, the impacts of
16 that drift stability on the repository design, and the
17 various activities we have performed recently to resolve the
18 issue.

19 [Slide.]

20 DR. SEGREST: Drift stability and maintenance is a
21 very significant issue in our design. We will be spending a
22 great deal of time on it. In this fiscal year we have been
23 spending a fair amount of time on it. The work we have done
24 on it is rather enlightening. It has caused us to change
25 some of the direction we are heading in what some of you may

1 have seen in the advanced conceptual design report.

2 The issue is significant for a number of reasons.
3 The construction material that we use for the ground control
4 has got to be compatible with post-closure performance.
5 That has become rather significant in itself.

6 We had a meeting recently with our consulting
7 board. We talked some about steel; we talked some about
8 concrete; and we started hearing negatives on both. There
9 are problems with the material we use, so we are going to
10 have to try to select an appropriate material. Post-closure
11 performance is the issue that is driving that material
12 selection as much as anything.

13 We have also got to consider performance
14 confirmation. That factors in when we begin to install the
15 ground support as we are cutting the drifts, and later on
16 with the performance confirmation work that may have to be
17 done throughout the life of the repository. Then we want
18 the ground support to be compatible with the construction
19 method. If we appropriately design the ground support and
20 the TBM to operate together, then it significantly improves
21 production and reduces over cost for construction of the
22 repository.

23 The time period we are looking at is 150 years.
24 The drifts are relatively inaccessible. So we want the
25 ground support to be there for 150 years with a minimum

1 amount of inspection and maintenance.

2 Then we have got the heat and radiation
3 considerations, which make that access for maintenance
4 extremely difficult. It is not impossible, but it does make
5 it difficult, and we try to deal with that in our ground
6 control design as well.

7 [Slide.]

8 DR. SEGREEST: The drift stability work affects the
9 ground support system; it affects the actual layout of the
10 repository itself as far as how we lay out the drifts and
11 how we lay out the access tunnels.

12 Retrievability is an issue which we cannot escape
13 from and that we keep having to consider in all of this
14 work, and it has its impact on how we do things.

15 [Slide.]

16 DR. SEGREEST: As I indicated, the post-closure
17 performance of the repository affects our selection of
18 ground support. We have looked at some things such as
19 concrete.

20 There has been a recommendation. We are trying to
21 put in our design now of using precast concrete segments.
22 In doing that, the first consideration that we had to look
23 at before we could even think about doing that is the impact
24 on the performance assessment. Post-closure performance has
25 a significant impact on the pH which has significant impact

1 on the transport of the radionuclides. Our performance
2 assessment people are working closely with us on that issue.

3 There is a requirement for data collection. That
4 requirement is not clearly defined at the present time.
5 Right now in the ESF they map continuously behind the TBM as
6 it goes down. The system is designed so they can do that.

7 We put a lot of effort in the design of that to
8 make sure they were able to see as much of the ground as
9 possible. We need to reach some decisions and conclusions
10 on how much ground we have to look at in the emplacement
11 drifts because that will impact our ability to install the
12 type of ground control we are looking at.

13 The precast segments should go in right behind the
14 machine where you would never get to look at the ground. If
15 we go with a two-pass system, such as a cast-in-place
16 concrete, then the mapping would be available, but that
17 would be probably a higher cost system.

18 I missed the last bullet concerning the long
19 operational life. There has been a lot said about that.
20 It's a significant consideration in our drift stability
21 work.

22 [Slide.]

23 DR. SEGREST: In looking at the repository layout,
24 the orientation and location of the repository is a
25 consideration. We look at trying to locate the drifts such

1 that they are perpendicular to the fractures that we see in
2 the rock. A lot of the ESF work where they have looked at
3 the fractures tells us we may have to make some adjustments
4 to the direction the drifts go, but that is a consideration
5 we have.

6 The size and the shape of the drifts. The drift
7 for emplacement is pretty well decided since that will be
8 excavated by a TBM. It will be round. We are also looking
9 at the size of the ground support for the turn-outs to each
10 of the drifts.

11 The lengths of the emplacement drifts are a
12 consideration. You have already seen some diagrams of the
13 more recent repository layout where instead of having the
14 drift access from one end only we have the drift access from
15 both ends so that it is essentially half as long.

16 [Slide.]

17 DR. SEGREST: A reliable ground support system is
18 necessary to have a reasonable method of retrieval. We need
19 to have a ground support that will have some level of
20 confidence will be in place for 150 years. We have to
21 consider that we will need to go in for some kind of
22 maintenance or to repair something that may happen in there.
23 Who knows what, but something may happen. So we have to be
24 prepared to deal with that.

25 We have to consider the off-normal conditions.

1 With some types of ground support those off-normal
2 conditions are likely to be lesser in severity than in
3 others. So that is a substantial consideration.

4 [Slide.]

5 DR. SEGREST: The recent work that we have done in
6 this area.

7 I think you all are aware of our Repository Board
8 of Consultants that has been assisting us. This is
9 essentially the same board that worked on the ESF and now
10 they have refocused their efforts toward the repository. We
11 have had some meetings to them and presented to them what we
12 are doing and gotten some very valuable feedback from them.

13 They have given us some things to think about and
14 consider. We pretty much agree with most of what they say.

15 Their recommendations are to provide a single and
16 robust ground support design suitable for all expected rock
17 conditions. In the ESF we have a menu of ground support
18 designs to select from. The constructor selects from that
19 menu based on the conditions in the tunnel. With the
20 emplacement drifts we are headed toward a single ground
21 support design which will be installed all along the drift
22 so that there would not be a menu to select from as the TBM
23 moves along the drift. It will be the same support all the
24 way.

25 We are looking for some economy in the efficiency

1 of the construction operations by making the system
2 compatible with the TBM so the TBM is designed for that
3 particular ground support and for the particular repository
4 design as we lay out. That will simplify the construction
5 and also make it such that the construction is faster, which
6 affects the cost of the construction.

7 Also, we are looking at the available information
8 from the ESF. A lot of information is being gained on the
9 rock structure geology. A lot of information is being
10 gained from the ESF. We are factoring all of that
11 information into the work that we are doing on the ground
12 support design for the repository.

13 The initial ground support design for the ESF was
14 done using borehole data. A lot of work was done there.
15 Some of the designs were conservative, perhaps more so than
16 necessary, but now that we have the actual data from the ESF
17 that has been gathered in the mapping and scan line data and
18 so forth, we know more about what to expect in the
19 emplacement drifts so the design there will be a bit more
20 precise.

21 [Slide.]

22 DR. SEGREEST: This diagram, no matter how hard we
23 try, doesn't quite show what it was supposed to, the drift
24 itself. This would be a precast concrete liner in segments.
25 The invert section of it shows the rails for movement of the

1 gantry. It shows pedestals spaced intermittently along the
2 drift for the waste package placement.

3 A few things you will notice here. There is no
4 provision obvious in here for us to go back and look at the
5 drift wall behind that concrete after the ground support is
6 in place. That is something that we have got to consider.
7 That is one of the questions we have in our design.

8 The segment lines don't show up on here, but it
9 would be installed in concrete segments. We would make a
10 determination there with respect to what would be a
11 reasonable size to handle.

12 [Slide.]

13 DR. SEGREEST: Other recent activities or
14 developments.

15 As I have mentioned, we have reduced the length of
16 the emplacement drift by making them accessible from both
17 ends.

18 Develop a gantry system -- you have seen a lot of
19 that in various diagrams in the past two days -- for moving
20 waste packages in or out of the drifts.

21 We have also considered that we may need to get
22 into a drift and maintain it, and the best way to do that is
23 to remove the waste packages from it. So the design now
24 includes some parking drifts, as they are referred to, where
25 we could actually unload an active emplacement drift; we can

1 unload the waste package from that, move it to this parking
2 drift such that we can go in and perform some kind of
3 maintenance or repair operation on that emplacement drift.

4 [Slide.]

5 DR. SEGREST: The layout, which you have also seen
6 a few times. Some of these slides may be getting old. We
7 see one, we like it, and we pass it around. On this one you
8 see some parking drifts specifically for the purpose of
9 allowing maintenance. Not show here, but there are also
10 some inspection drifts that are part of the design. You
11 have seen enough of that one, so I won't leave it up too
12 long.

13 [Slide.]

14 DR. SEGREST: Some more recent activities to
15 resolve the issue we are working.

16 Some study was initiated a few months ago to study
17 the use of cementitious materials within the emplacement
18 drifts.

19 That work is progressing. We are expecting to see
20 a preliminary report the first quarter of FY97, and we are
21 expecting to make a decision as far as the drift design for
22 viability assessment and material usage. We expect that
23 decision to be in the second quarter of FY97. We are trying
24 by March of 1997 to provide a fairly complete inventory of
25 the types of materials we expect to use for the performance

1 assessment work.

2 We are also continuing to address the various
3 performance confirmation issues, such as the drift wall
4 mapping which has to be dealt with, and we are working with
5 the licensing and site groups to try to reach some
6 conclusion on that as to how we want to approach that.

7 DR. CORDING: Thank you very much, Alden.

8 A question from John Cantlon.

9 DR. CANTLON: In your last item where you are
10 trying to get at the mapping of the drift walls, it would
11 seem to me there is an opportunity here to do a little
12 remote geology by having a TV camera right behind the
13 cutting face as the precast concrete things are being slid
14 up, producing essentially a continuous photographic film of
15 what that raw surface is. The difficulty, of course, is it
16 isn't a wash surface, but maybe that could be handled with
17 air or something like that.

18 It does seem to me that that would permit you to
19 move very rapidly and you would have an absolute geological
20 record long before you are emplacing. That obviously isn't
21 as good as a geologist licking the rock as they are inclined
22 to do, but it's the next best thing.

23 DR. SEGREST: That's a consideration. The big
24 question is how much mapping do we need to do. We will
25 currently have a great deal of information on the entire

1 perimeter and there will be some inspection drifts. Is that
2 enough? It may be.

3 DR. CANTLON: You know already, though, from
4 operating in the ESF the troubled ground isn't always
5 related to known faults, and so on. So one would expect a
6 fair amount of heterogeneity in there and it would be very
7 good for confirming with NRC and so on that you have got an
8 actual record of the total geology through the system, and
9 once you set it up and operate it you've got a proven record
10 of what you have been over. The question is, can you design
11 a system that is robust enough to operate a TV unit behind
12 the cutting face that will generate a record for you?

13 DR. SEGREST: I would think that is a possibility.
14 We haven't worked with vendors on doing that yet. At such
15 time as we get ready to do this we will be working with the
16 TBM vendors.

17 DR. CANTLON: You clearly need the geologist with
18 you.

19 DR. SEGREST: This is an issue that we are working
20 primarily with the geologists and the licensing staff,
21 because it is not an engineering decision as to whether to
22 do it. If they tell us to do it, it becomes our decision as
23 to how.

24 DR. CANTLON: Have you given any thought to
25 looking at some of the new carbon composite concretes,

1 carbon fiber composite concretes that have an enormous
2 improvement in strength?

3 DR. SEGREST: From an engineering standpoint, the
4 preference in the concrete is to select a standard concrete,
5 some kind of a fairly standard design available from the
6 handbook without having to develop something new. We would
7 like something that has some proven use, some reliability.
8 We would like to do that. We do have some flexibility if
9 they are precast because they can be made outside so we
10 don't have to worry about the drying and so forth occurring
11 inside the repository. So there are some advantages there.

12 We have got to look at the high temperature
13 concretes. A lot of your standard concretes when you get
14 above 150 degrees Fahrenheit you have to start answering
15 some more significant questions about how long they will
16 last. So we are looking at the high temperature
17 applications.

18 We are also looking at the lower pH concretes,
19 which are more suitable for what we need from our PA
20 standpoint.

21 Some of the other composites, if they answer the
22 questions, we will indeed be trying to review.

23 DR. CANTLON: You have got a decade before you
24 start loading and you have got 50 years of loading.

25 DR. SEGREST: Correct. Yes, sir.

1 DR. CANTLON: The point is you don't want to get
2 frozen into obsolete technology, and it would seem to me it
3 would be very nice to have somebody looking at some of these
4 specialty concretes that have very much more strength, very
5 much lighter, and now the question is, is the carbon fiber
6 going to generate a problem? Obviously now the cost is
7 prohibitive, but that is not necessarily true if you get a
8 big flow of the material coming in.

9 DR. SEGREEST: Using the fiber in the concrete is
10 definitely being looked at and considered.

11 DR. CORDING: Fiber reinforced concrete has become
12 a pretty standard product, wire fibers and things like that.
13 The question is whether you need it or not. What you are
14 really looking for in this concrete is not so much a lot of
15 strength, particularly compressive strength, but something
16 that will just stay there in contact with the rock for a
17 long time.

18 DR. SEGREEST: Chemistry is a big concern here.

19 DR. CORDING: I guess the point is there is almost
20 no support system that you can come up with as a continuous
21 support system with present technology that does not include
22 substantial amounts of cement. If you are talking about
23 putting in a concrete lining, either cast in place or
24 precast, that is obvious. Also, if you started looking at
25 continuous steel segments, for example, the backfill behind

1 those is some sort of cement or grout, a large component of
2 actual cement there.

3 Present technology for continuous supports, almost
4 of them require significant amounts of cement, and I think
5 that having to not use cements in the project is a major
6 problem for being able to use standard technology.

7 DR. SEGREST: The way we have asked the question
8 on cement is we have said we need to use cement; we need to
9 use cementitious materials, concrete, in the repository
10 emplacement drifts. So I go to the PA organization and I
11 say, help me do it. Help me figure out a way to do it.
12 There are certain types of concrete, certain additives,
13 whatever we can use. So I ask them to try to help me reach
14 some kind of a conclusion such that in engineering this we
15 could use cementitious materials.

16 DR. CANTLON: It seems to me that the time that
17 the high pH is going to give you a problem is out in the
18 distant future, not during the construction, loading or
19 retrievability period. That is why it would seem to me the
20 smaller the mass of concrete you put in there the lower your
21 high pH problem. That is why I am thinking getting these
22 very thin, very much stronger concretes would be a way of
23 getting TSPA numbers in which the high pH isn't a problem
24 out there at 50,000 or 100,000 years.

25 DR. SEGREST: You have mentioned some of the most

1 significant issues with using a liner of this nature. The
2 lighter weight can be handled easier; a better chemistry
3 from the post-closure standpoint. So those are indeed
4 things that are significant issues to us and we need to look
5 at.

6 DR. CORDING: Don Langmuir.

7 DR. LANGMUIR: On the same subject, Alden, why
8 does the prestressed or precast concrete have to be 360?
9 Without knowing more than I think I know, I would have
10 thought 200 degrees circular might be sufficient and the
11 invert then being crushed tuff. If you make a total tube,
12 what are you gaining over making two-thirds of a tube? The
13 invert of crushed tuff is the most stable material for
14 millennia, because it is all around you in the rock. It
15 provides a lot of buffering for any leakage from a waste
16 package. You can also doctor it. You could lay a little
17 bit of spent uranium on the top of the stuff next to the
18 canister. You can do things with very cheaply and you don't
19 have to pay for it; it's right there on the site.

20 Also, if the concrete uses tuff as the makeup
21 material for the concrete, you have made it chemically more
22 similar to the mountain and less vulnerable to alteration
23 through time, because its chemistry won't be that different.

24 Also, the lime effect on pH is an early effect in
25 concrete, as I understand it. It tends to go to calcium

1 carbonate in the atmosphere and you are not likely to see
2 the high pH's after a few decades unless you rupture the
3 material and go internal in it where you haven't gotten the
4 CO2 to react with the lime.

5 DR. SEGREEST: We have done a lot of analysis as
6 far as the types of stresses we would expect to see on the
7 ground control, whether it's concrete, rock bolts, whatever
8 we would use in there. So we have done a lot of analysis.
9 We initially had some considerations about having the
10 cylinder in there because of the hoop stresses and the side
11 stresses from the thermal. From the stress analysis we have
12 done it looks like having the concrete cylinder, steel ribs,
13 whatever, is the most preferable way.

14 Some of our earlier work looked at putting in a
15 shotcrete. When we got into some further looking at the 200
16 or 270 degrees, we looked into that further and that didn't
17 quite fly with respect to all the stress analysis we had to
18 do.

19 DR. LANGMUIR: One other minor thing. Looking at
20 your diagram -- it's not your talk; it's an earlier one --
21 the very heavy packages are going to be sitting presumably
22 on concrete pillars, little support.

23 DR. SEGREEST: Yes, pedestals.

24 DR. LANGMUIR: There is a lot of literature out
25 there on stress reactions, the effect of pressure on solid

1 phases, increasing their solubility and their kinetics of
2 dissolution. You are likely to create much more reactivity
3 and degradability on those pillars because of the weight
4 than any other concrete around in the tunnel. You might
5 want to reconsider using concrete to carry that weight load
6 at high temperatures and pressures. You have got a lot of
7 pressure and you have got a high temperature and a lot of
8 moisture. So there is a reactivity there.

9 DR. SEGREST: I know we have done a fair amount of
10 evaluation with respect to the waste package itself as far
11 how best to support it, but as far as doing the actual
12 analysis of the pedestals, and so forth, I don't believe we
13 have done any of that yet to speak of.

14 DR. LANGMUIR: I have visions of those as piles of
15 sand where they used to be in 150 years and the thing
16 sitting on the bottom of the tunnel.

17 DR. SEGREST: Yes. Now you are going to cause me
18 to lose sleep with that same vision.

19 [Laughter.]

20 DR. CORDING: You made a comment that you wouldn't
21 be able to look at the ground later through the lining. Did
22 I catch that correctly? Is there a reason you want to look
23 at the ground later?

24 DR. SEGREST: There may be from the performance
25 confirmation standpoint. That is a question that we have on

1 the table.

2 DR. CORDING: You mean actually view the rock?

3 DR. SEGREST: We are asking that question from the
4 standpoint of performance confirmation: do they need to be
5 able to go back and view that rock at any point after the
6 emplacement drift is closed? If the answer to that is no,
7 then it makes our engineering work a little bit simpler. If
8 they do need to go back, we are going to have to somehow
9 provide some windows in the concrete or some method.

10 DR. CORDING: It would seem that if you are trying
11 to understand what the rock is doing you could look at it
12 with how much strain or displacement is occurring; are there
13 gaps behind the lining. Things that could be done with some
14 sort of sensing. If you are concerned, for example, about
15 gaps developing or present behind the lining, you can see
16 some of that sort of thing with some sort of impact echo
17 type of testing. You could get some information off of
18 ground penetrating radar or things like that. My reaction
19 would be it won't turn into a major issue.

20 DR. SEGREST: There is some work being done on the
21 performance confirmation requirements and system studies and
22 so forth being done with respect to determining what those
23 are so that from an engineering standpoint we know what to
24 design for. The question is somewhat open right now as far
25 as how much rock they need to see.

1 DR. CORDING: The issue that you are dealing with,
2 mapping as the TBM goes forward, is certainly one that seems
3 to be more of a major issue. It would seem that whichever
4 way you go on it it is something that you can resolve.
5 There are ways of taking care of this with some sort of
6 continuous lining, whether you had to delay it or whether
7 you provide windows as you go forward, or whatever. It is
8 an issue to be addressed but it seems like there is some way
9 forward on this.

10 DR. SEGREST: There is certainly a way forward.
11 We would like to have a good enough answer so that when we
12 do our VA design, which we need to make a decision on this
13 particular issue by March, we know what we would like the
14 decision to be, but we have got some requirements that may
15 come to us that we have to meet. If we have to be able to
16 view the rock before the ground support is placed in
17 position, then we either have to go to a two-pass system and
18 then we may use a cast-in-place concrete, or we would have
19 to come up with some suitable method to view the rock before
20 we put in the precast segments. I am sure there is answer
21 to either one.

22 DR. CORDING: With the two-pass system and then
23 using cast-in-place concrete, of course you have an initial
24 support requirement there, as you know. In driving the
25 tunnel in a more favorable direction with respect to the

1 fractures, in a smaller tunnel the support requirements
2 should not be as major as they have been in portions of the
3 repository main drift that has been driven. Perhaps rock
4 bolt support is going to be adequate for most of that. Then
5 you lay in your cast in place which in itself could be an
6 efficient operation certainly.

7 It seems to me that the type of support systems
8 you are looking at are the ones which are most desirable for
9 ground support for very long periods of time. It seems to
10 me that you are moving in the right direction on these
11 support systems.

12 Don Langmuir.

13 DR. LANGMUIR: How long would these precast
14 concrete segments be? What length would you envision them?
15 You have got to move them around in there. So they can't be
16 terribly long. You have got to make corners.

17 DR. SEGREST: I would have to guess at that.

18 Somebody in the back said this long.

19 DR. CORDING: One meter or 1.2 meters.

20 DR. SEGREST: That will all go hand in hand as the
21 machine is designed to determine what the reasonable
22 handling is.

23 DR. LANGMUIR: The only reason I ask the question
24 is because if they are really long, they influence the
25 hydrology that enters the drifts. If they are very short,

1 they don't. But that may become a factor in your modeling
2 and consideration of the hydrology entering drift sites.

3 DR. SEGREST: I can see you understand the
4 complexity of what we are trying to deal with.

5 DR. CORDING: Thank you very much.

6 Are there any comments or questions from the
7 audience at this point?

8 Richard Parizek.

9 DR. PARIZEK: On Don Langmuir's point whether or
10 not these shields are part of the engineered barrier
11 considerations, it could be a drip shield, for instance, or
12 some way to kind of keep water out from hitting parts of the
13 canister locations. If you have a gap on the outside of
14 them, do you backfill that with concrete or do you put a
15 permeable material in there? In which case you have a
16 capillary barrier possibility.

17 There are lot of things you could do with this.
18 The whole question is, is that in the thought process for
19 engineered barriers?

20 To bring up the stress point that Don also raised
21 about the pedestals, my question would go to the canister
22 itself, whether or not that stress on the canister enhances
23 the corrosion of the metals that are going to be used to
24 house the waste. Not only the pedestal, but then the water
25 contacts that might develop between the pedestal and the

1 waste canisters. Drip shields enter into that discussion.

2 DR. SEGREST: Indeed I can see that you also have
3 some understanding of the complexity of what we are dealing
4 with. What seemed like almost no neverminds can become very
5 significant issues. The pedestal/waste package interaction
6 is a significant consideration.

7 From just a straight structural standpoint we will
8 look at the ground control, just from a structural
9 standpoint of supporting the ground. Then we have got to go
10 in and we have got to consider all the thermal influences,
11 because it is not just the heating in that drift; it's the
12 heating from the side drifts and the additional stresses
13 that we get on the sides of the tunnel where the stresses
14 there are greater than the top and the bottom. So we get
15 into those considerations.

16 Then we get into the hydrology, the effect of
17 drying out. We are hoping to learn something with regard to
18 what happens there in the heated drift test which is soon to
19 be constructed. I think that is supposed to actually start
20 by the end of FY97. We do have a section of concrete ground
21 support being included with part of that where hopefully we
22 will learn some things about how the concrete behaves and
23 interacts with hydrology, and so forth.

24 Without really having a direct answer to your
25 question, we are considering those type of things in the

1 work we are doing, and that is what makes it so complicated.

2 DR. CORDING: Are you looking at the possibility
3 of some sort of layering of the lining in such a way that it
4 has a more permeable zone or open zone that might serve as
5 some sort of capillary barrier or a way of shedding water
6 around the lining?

7 DR. SEGREST: I think before we start looking at
8 too much of that we are really going to be interested in
9 what comes out of the thermal testing as far as the
10 hydrology there, what the impacts are of the temperature,
11 and so forth. So we are still in a learning mode as far as
12 how that may affect us.

13 DR. CORDING: The precast concrete segments that
14 go in, are you at this point thinking about expanding the
15 expanded segments behind the machine instead of grout?
16 There are two alternatives. One is to expand the segments
17 out to the ground to gain most of the contact. The other is
18 just to put in a ring and then the gap between the ring and
19 the ground is filled with cement, mortar or grout.

20 DR. SEGREST: Dan, help me out. Well, Kal is
21 going to help me out. Okay.

22 DR. BHATTACHARYYA: I am Kal Bhattacharyya. I am
23 closer to the microphone, so I will give it a try. At this
24 moment I believe the idea is not to grout it, Dr. Cording,
25 but make it so that it takes a lot of initial displacement,

1 so it is more forgiving to the displacement. We will fill
2 in behind it with maybe pea gravel or something like that if
3 there are any voids. Otherwise it will just be free
4 floating.

5 Does that answer your question?

6 DR. CORDING: You say you would expand it into
7 contact with the ground?

8 DR. BHATTACHARYYA: That's correct.

9 DR. CORDING: As it comes out behind the shield
10 you have to push it out to get it to the ground.

11 DR. BHATTACHARYYA: That's correct.

12 DR. SEGREST: Thank you, Kal.

13 DR. CORDING: Thank you very much, Alden.

14 We will now continue with the presentations on the
15 repository operations and design. The presentation we have
16 is on thermal management strategy from Dick Snell. This is
17 an obviously important part of the overall design and an
18 area requiring a lot of interaction with the performance
19 assessment and the testing programs that are part of the
20 scientific studies.

21 DR. SNELL: Good morning. As you just mentioned,
22 Ed, the subject is thermal management strategy.

23 [Slide.]

24 DR. SNELL: I would like to talk a little bit
25 about several aspects of the thermal management strategy.

1 Kind of an overall discussion, first of all.

2 Some conversation about thermal management goals.

3 A little bit of information on the testing that we
4 are currently engaged in, testing that we expect, and some
5 that has been done in the past.

6 Some design and operational considerations
7 associated with the thermal management approach that we use.

8 Issues. There are several. I will highlight just
9 one for the time being.

10 And then a brief summary of where we are.

11 [Slide.]

12 DR. SNELL: First of all, in talking about thermal
13 management, in present terminology we are talking about the
14 quantity of waste that we are going to put in per acre in
15 the repository and generally in metric tons of uranium per
16 acres.

17 One of the objectives is to create a thermal
18 loading or emplace a thermal loading which will help us
19 create a relatively dry environment in the emplacement
20 drifts for as long a period of time as we can. The dry
21 environment is a beneficial situation from a corrosion
22 standpoint on the waste package materials, the materials of
23 construction. The longer we can get the heat from the waste
24 packages to move moisture away from the drift and keep it
25 away from the drift the better off we will be from a

1 performance standpoint.

2 [Slide.]

3 DR. SNELL: The thermal loading consideration is a
4 comprehensive one. As I think you have already concluded
5 and commented at times, it tends to affect almost every
6 aspect of the repository that we are dealing with.

7 It certainly has a bearing on waste package
8 design. It has a bearing on the subsurface design. We will
9 get into that a little bit more.

10 It potentially has an impact on surface design,
11 because when we talk about thermal loading and thermal
12 management, we may be talking about situations where we want
13 to do a mix and match on the waste coming into the
14 repository, and that may mean we need to have some
15 facilities on the surface to allow us to do that mix and
16 match. Temporary storage of incoming materials, if you
17 will.

18 It may have a bearing on site characterization.
19 It has had, really, because we are talking about information
20 that we need from the site characterization program, the
21 influence of thermal loading on the rock, on the mountain,
22 and a great deal of information that has already been
23 accumulated on the subject. There is more to come. As we
24 go forward we may find some aspect in which we need better
25 definition or more thorough information, and we will have to

1 work that with the science and PA people. That is the
2 performance assessment piece.

3 As far as implementation, we have done a number of
4 studies of various kinds in science and PA and engineering
5 to suggest to us some initial recommendations for thermal
6 management requirements.

7 This next line says we have developed a thermal
8 loading strategy. I will have to say that that is tentative
9 or certainly in an infancy stage at this point. As an
10 example, you have all heard quite a bit of discussion about
11 the infiltration flux rates we are talking about. That is
12 fairly recent information. Changes of that sort of
13 characteristic can obviously drive the thermal management
14 option for us in major ways. So we have a situation which
15 appears to be a good reference case right now for thermal
16 loading. We are going to have to stay with this for a while
17 in order to come up with something that we ultimately have
18 confidence in for the long term.

19 We are progressing with some design and design
20 evaluation work.

21 And we have an integrated thermal testing program
22 that is already under way. You have heard some of that
23 already. I will revisit a little bit of that in a very
24 general way.

25 [Slide.]

1 DR. SNELL: From a strategy standpoint and from a
2 basis for us, we are talking about the 70,000 metric tons
3 capacity for the repository which comes out of the statute
4 on the nuclear waste policy program.

5 We have previously talked about a reference
6 thermal loading range of from 80 to 100 metric tons per
7 acre. At about 83 tons per acre, roughly in that number, we
8 find that we can get the 70,000 metric tons into the current
9 footprint in a relatively straightforward fashion. In fact,
10 with some of the improvement they have talked about here in
11 this meeting, the repository underground design is a little
12 more efficient than it has been in some earlier versions you
13 have seen. So we actually have a little bit of spare
14 capacity in that current footprint at that 80 or 83 MTU
15 figure.

16 We have got to meet the performance objectives.
17 That is first and foremost the driver on what we do with
18 thermal management. We have got to have something that
19 satisfies the waste isolation strategy, something that is
20 consistent from a performance assessment standpoint,
21 consistent with the scientific information that we have been
22 assembling.

23 We want to retain some flexibility, because
24 alternative thermal loadings may prove in the long run to
25 hold some real merit for us. The ranges that have been

1 considered heretofore have been from as low as 20 metric
2 tons per acre up to as high as about 100.

3 [Slide.]

4 DR. SNELL: In looking at what we do with thermal
5 goals and the assumptions that we make and the requirements
6 that we set, some of the goals were initially defined in the
7 site characterization program. They have been updated in
8 some recent studies.

9 We have some methods so that assumptions that we
10 choose to make in the design and use as an ongoing basis we
11 can document in a controlled design assumptions document, a
12 CDA, which is a part of our answering documentation.

13 Those things that are statutory requirements or
14 mandated to us by the program go into the requirements
15 documents. Those are must do, must meet kinds of things.
16 Again, that documentation is controlled and remains with us
17 throughout the life of the project.

18 [Slide.]

19 DR. SNELL: Let's talk about some of the thermal
20 goals generally that we have been looking at. You have
21 heard some of these before but I will revisit them a little
22 bit.

23 Cladding temperature limit. We are talking about
24 something less than 350 degrees C as a working number so
25 far. It appears that the integrity of the cladding and the

1 fuels that are going to be disposed of has some merit for us
2 in terms of the waste isolation, the period during which we
3 can expect to have proper waste isolation. We don't want to
4 give away any potential benefits in terms of waste
5 isolation, so we want to preserve the cladding as best we
6 can. The information we have suggests that if we maintain
7 temperatures of less than 350 we get the most effective
8 benefit from it.

9 There is a related goal noted there that has to do
10 with backfill and looking for reasonably good conductivity
11 from backfill. The reason is that if you put anything
12 around the outside of the waste package it is going to tend
13 to drive temperatures higher inside the package. So if you
14 want to maintain 350 on the cladding and you want to blanket
15 the package with some kind of backfill, you need to do it in
16 such a way that you don't make too good an insulator out of
17 the backfill and cause that centerline temperature to go
18 higher. It's a combination.

19 The drift wall temperature less than 200 degrees
20 C. There has been a lot of discussion about that
21 heretofore. It's a fairly conservative number, and in my
22 experience it tends to be, I would say, a high side number.
23 I know in other design applications, in my experience
24 anyway, if you get up to 200 C or something close to 400
25 degrees F, you are getting into a range where you can begin

1 to question the concrete's ability to maintain its
2 integrity. It is kind of a high side bounding number that
3 we are using right now.

4 [Slide.]

5 DR. SNELL: If you look at some of the
6 geochemistry goals that we are working with design bases
7 right now, at one time it looked as though a temperature
8 limit at the interfaces on the TSw2 and TSw3 strata on the
9 site would be a good thing to do.

10 The comment here says "no technical basis found."
11 That is probably a bit strong, but I think the suggestion
12 now is that there is not a sufficiently strong reason for
13 holding that 115 degrees C, to hold that as a bounding
14 value. So we are not at the moment using that on a
15 continuing basis.

16 Heretofore we have looked at 115 degrees C limit
17 in Calico Hills for protection of zeolites. We have
18 modified that or are proposing to modify it and go to a
19 lower temperature limit, 90 degrees C, at a depth of 170
20 meters below the repository horizon. There is a little bit
21 of explanation that goes with this, and I will try and keep
22 it fairly simple.

23 First of all, as with cladding on the fuel, the
24 zeolites have a potential benefit from a waste isolation
25 standpoint. We want to preserve the zeolites to the maximum

1 extent that we can.

2 The mapping underneath the repository horizon
3 right now is fairly good, but there are three or four
4 different models that are being prepared and worked on to
5 characterize the zeolite patterns underneath the repository.
6 Those models are not in precise agreement yet, which is one
7 of the reasons we are doing several.

8 The suggestion is that the zeolites closest
9 approach to the underside of the repository working horizon
10 perhaps is on the order of 125 to 150 meters, somewhere in
11 that range. That is suggested by at least one of the models
12 they are working with. That tends to be down in the
13 southwestern portion of the repository footprint. As you
14 move north and as you move to the east zeolites are still
15 present but they exist at levels much further below the
16 repository horizon, distances of 170 or actually more than
17 that, 190 or more meters below the repository.

18 Moreover, some of the models suggested zeolites
19 may not be present over the entire repository footprint.
20 There is a suggestion in some modeling that again in the
21 south and the west the zeolites either are thinning or are
22 nonexistent for portions of the footprint.

23 However, the potential benefit is there. The
24 recent information on the high flux rate suggests that the
25 benefits of the zeolites may not be as great as had been

1 previously anticipated. Nonetheless there is still some
2 benefit. We don't want to give it away.

3 What we have decided here is we will use this 90
4 degrees C at 170 meters below the repository as a working
5 assumption. What that does for us is that we think based on
6 the most conservative information on when the zeolites are
7 affected chemically by temperature 90 degrees is a very
8 conservative number. The likelihood is that a higher number
9 would be tolerable without any irreversible changes.

10 Secondly, the depth, using 170 as an average and
11 looking at the mapping we have, suggests that about 10 or 15
12 percent of the area under the footprint might -- I may might
13 -- be impacted to some extent by that sort of a design goal.
14 Our expectation is that probably that is again conservative.
15 I think when we get better data on the temperature impact on
16 the zeolites and get a little bit better correlation on the
17 mapping we will find that we probably affect a very, very
18 small percentage if any of the zeolites underneath. We
19 don't want to fiddle with the mountain and its beneficial
20 aspects.

21 [Slide.]

22 DR. SNELL: Let's talk a little bit about testing.

23 Obviously we are doing a lot of thermal,
24 mechanical, hydrological properties testing. Lab tests also
25 on some of the processes that we think are going to play

1 into this thermal management and the actual installation.

2 We are doing a good deal of work in corrosion
3 testing, accelerated tests on materials, galvanic protection
4 potentials and things related.

5 And we are doing some in situ coupled process
6 tests, which are just beginning to get started. Some of
7 those are accelerated tests, by the way.

8 [Slide.]

9 DR. SNELL: Looking at thermal testing program,
10 there is nothing, I don't think, that is surprising to you
11 here, but I would like to comment on a couple aspects of it.

12 The old climax test you are familiar with.
13 Different rock. It's granite, but some comparative aspects.
14 G-tunnel, similar welded tuff. Not precisely this one but
15 similar, and again some reasonable correlation.

16 Some laboratory and corrosion testing has been
17 ongoing for a long time. The intent here is to show that we
18 have shown a break here around the current time frame, but
19 it is ongoing. The intent with that dotted line on the
20 right is to indicate our expectation is it is going to be
21 ongoing for a longer period of time. Things change. We
22 will have new needs. We will get some surprises
23 undoubtedly, and we expect to continue that testing.

24 Drift scale test. We are just getting started.
25 You have heard about some of that already. The shakedown

1 test, the initial test has begun. It was started in August.
2 The drift scale test, a bit larger one, the full size is
3 scheduled to start late in 1997.

4 Large block test is anticipated to be performed.
5 That was discussed earlier.

6 Single heater test I just mention.

7 First repository drifts under current scheduling
8 in the program plan would occur in 2010. Recognizing that
9 we have got a performance confirmation program to put in
10 place here and looking at that kind of timing, the
11 expectation, at least on my part, would be that some kind of
12 testing is probably going to be with us for a long, long
13 time to come, much of it confirmatory in nature, of course.

14 [Slide.]

15 DR. SNELL: In connection with some of the
16 corrosion testing, just a little bit of a quick look here.
17 This is a picture taken up at Lawrence Livermore Laboratory
18 where they have a number of the corrosion tanks. I think
19 some of you have been in that facility. Some tanks are
20 installed and samples under test already. There is more
21 tankage that was recently procured. Some of just gone out
22 for procurement of additional tankage in September, I
23 believe, in order to begin testing on more samples.

24 They are looking at quite a wide range of
25 materials. I think the number of samples they have got in

1 this program is like 11,000 or more samples when you look at
2 the various materials, the various types of tests and the
3 various durations they are looking at.

4 They are using J-13. J-13 is a well out at the
5 Nevada test site. The reference there is to the water
6 chemistry in J-13. They are using a concentrated J-13
7 environment as kind of a typical or for instance expectation
8 for the repository area.

9 They are also looking at some acidic and alkaline
10 environments that have been created for the testing
11 purposes, bounding kinds of test conditions.

12 This work includes some galvanic cathodic
13 protection tests, and you heard some discussion about the
14 potential benefits in the way they do the waste package
15 construction and the possible benefits of galvanic action
16 that we might get.

17 As I mentioned, some of the testing has just
18 begun. September is what we are showing.

19 [Slide.]

20 DR. SNELL: A quick picture here on the single
21 heater test. This is in the first section of the thermal
22 test alcove. There is a little picture on the following
23 chart which will position this for you better. I'm not sure
24 I have got the orientation right, but this is a little
25 offshoot from the thermal alcove test.

1 It just started in August. About 353 instrument
2 holes, approximately something over 600 channels of
3 instrumentation on that test.

4 [Slide.]

5 DR. SNELL: I think you have seen some of this.
6 This J-hook arrangement shows up on some of the drawings on
7 a little bit smaller scale, but this is the one that you see
8 on the large ESF maps. It is located just around the turn
9 from the north ramp into the north/south main drift.

10 They are looking at coupled testing. It's a full
11 diameter drift. The short end there on the J-hook is the
12 area where the full-scale drift testing is going to occur.
13 Presently the access drift, the long leg coming off the main
14 drift has been excavated. The shakedown or the initial
15 heater test is off to the right there, right near the main
16 drift, the one that is referred to as the thermo-mechanical
17 alcove.

18 Construction is active now in the section going
19 across to the full-scale drift. Design is being completed
20 on the thermal test section of the drift, the full-scale
21 drift test piece. That is the one that will start late in
22 1997. It's quite a comprehensive test in terms of
23 instrumentation, some over 6500 channels of instrumentation.

24 [Slide.]

25 DR. SNELL: Let's talk about some of the

1 operational aspects that are associated with the thermal
2 management.

3 Emplacement sequent of the waste packages or waste
4 assemblies is one part of the method you can use in thermal
5 management. By sequencing the waste packages or sequencing
6 the assemblies, you can control heat outputs using a
7 selective basis on how you put them in.

8 There are some ratios here indicated based on
9 several times delta factor, if you will, on heat release. I
10 don't have the supporting information here, but it is
11 substantial and it looks like there is good merit for us in
12 considering these things. That is what would have a bearing
13 on surface facilities, for example, among other things.

14 Higher thermal loading at repository edges. There
15 are several models that are being worked on on thermal
16 behavior in the mountain. The models suggest, as you might
17 expect, as you get near the perimeter of the emplacement
18 areas, because the heating is now at the edges from one side
19 only or from underneath and one side and then you are out
20 into the mountain outside the emplacement area and beyond,
21 the temperatures come down, heating rates are less
22 effective. So you get a different temperature profile
23 around the edge.

24 One of the things that has been considered is,
25 well, if that is the case, let's use higher thermal loadings

1 in the perimeter areas and see if we can't kind of balance
2 that out and get rid of that change in thermal profile. The
3 current design does not use it.

4 We say here in a flat statement the "issue will
5 not be revisited during the VA design period." I would
6 suggest that I would be less adamant, if you will, about
7 that statement. I think the door is still open. We are
8 looking at performance issues. If we find on second look or
9 if we get some additional information which suggests there
10 is still maybe some benefit there, I think we would go take
11 another look. Right now we don't think maybe it's as
12 promising as we had hoped.

13 Ventilation. There has been some discussion about
14 this. Currently we are not anticipating forced ventilation
15 or mechanical systems for ventilation in emplacement drifts.
16 Again, this is under consideration. This is where we are
17 right now. We know that we are going to get some natural
18 circulation and some natural ventilation in the emplacement
19 drifts even though we don't put mechanical systems in place.

20 All things considered, all things being
21 maintainability, operability, retrievability, other thermal
22 considerations, all those things, whether this is adequate
23 or not we're not sure yet. We are still working on that.

24 If we find that we need ventilation in the
25 emplacement drifts over extended periods of time, it does

1 have major significance because it means that you have got
2 to have a mechanical system in place and operable and
3 therefore supportable and justifiable to the NRC. It's a
4 major operational consideration for us to deal with. So we
5 are still looking at it.

6 [Slide.]

7 DR. SNELL: A couple of the operational techniques
8 that we have looked at. The terminology here talks about
9 linear mean loading, LML. There are more, but there are a
10 couple of different ways that we have looked at as far as
11 how you would put the waste in. In the advanced conceptual
12 design, the left-hand part of the figure there, we put the
13 waste packages in with a relative uniform spacing, the same
14 type of package perhaps over an extended period in the
15 emplacement drifts 22.5 meters center to center, more or
16 less a square pattern, so called.

17 One of the things that is being looked at is a so-
18 called line loading concept, the one that is portrayed on
19 the right where you put the packages end to end and you
20 intersperse some of the high thermal loading packages with
21 low thermal loading packages. Defense high-level, for
22 example, or some other spent nuclear fuel package. You put
23 the drifts farther apart because you are talking about
24 higher heat release figures and you want to maintain a
25 thermal level that is consistent with those goals we talked

1 about earlier, 350 and 200, and so on.

2 It is doable. It adds complications in terms of
3 emplacement techniques. It may add complications in terms
4 of retrievability because, for example, we might find out
5 that we want to do retrieval on certain kinds of packages,
6 not everything. Then you would have to leapfrog into a
7 drift to get the stuff you want. Those are some of the
8 things we still have to think about.

9 From a thermal management standpoint, it is an
10 option; it is still being reviewed; and there may be some
11 benefit to us in terms of the overall thermal strategy.

12 The use of low thermal output packages in between
13 the higher thermal output packages does tend to drive
14 overall temperatures higher. It is a little bit higher
15 localized heat release. So it does have a bearing, first of
16 all, on the center-to-center dimension on the drifts, which
17 is shown, and may have a bearing on the thermal loading in
18 the larger packages. Whether you go literally end to end on
19 the packages or spread them a little bit, we are still
20 working on that.

21 [Slide.]

22 DR. SNELL: Some of those operational
23 considerations that I have been talking about are referred
24 to here. The sequencing issue. But there is another aspect
25 here that is worth noting, and that is that when you look at

1 the aspect of filling the drifts, if you go in and fill a
2 whole drift that is one thing. If you choose to work on
3 filling several drifts simultaneously, that gives you a
4 little bit different operational scheme, different
5 temperature considerations, different ventilation
6 considerations. A fairly complicated issue to look at, but
7 it is all under consideration right now in connection with
8 the thermal management.

9 [Slide.]

10 DR. SNELL: This top bullet says that the current
11 designs and performance assessments are based on a
12 percolation flux of 0 to 0.3, which is nominally the case.
13 We are getting some data now, as you have all heard, which
14 suggest that higher fluxes are quite possible. I guess we
15 are not quite saying yet it is absolutely to be expected,
16 but that is kind of the trend that we are in.

17 The suggestion is that if you look at the work
18 that has been done, preliminary calculations, at 83 MTU per
19 acre, which as I mentioned was kind of the target number
20 that we are working with, at 1 to 5 millimeters per year
21 infiltration flux we would probably get somewhat less dryout
22 and less relative humidity reduction than we had previously
23 anticipated.

24 [Slide.]

25 DR. SNELL: We have some options.

1 We could increase the thermal loading to offset
2 the flux change.

3 We can go the other way and decrease the thermal
4 loading and use more robust waste package materials.

5 There is a third option, and that is stick pretty
6 much where we are right now with something around 80 or
7 slightly above as a thermal loading and make that work. By
8 that I mean we have some other characteristics that are
9 related to thermal management which we can use in order to
10 make that a viable scheme for the design.

11 Obviously it is important to VA. It is going to
12 get a great deal of attention over this next year.

13 [Slide.]

14 DR. SNELL: Where we are right now.

15 Decisions made. Those are decisions for the time
16 being, current basis, 80 to 100 is still nominally where we
17 are. Probably 80 is closer to the working number.

18 This says "selected most thermal management
19 options for VA." Still looking at line loading. I think
20 again I would soften that up a little bit. I think the
21 performance is critically important. We are getting new
22 data from science and PA all the time. We have some options
23 in mind, but we are looking at them. We are prepared to
24 modify them where it looks attractive to do so.

25 We do have what I think is a pretty good and

1 pretty comprehensive program in both corrosion testing and
2 in some of the thermal testing work in the alcove, and so
3 on. Ongoing we expect to get some pretty good data from
4 that over the next year especially.

5 So we have got, I think, a reasonably
6 comprehensive program in place right now.

7 That is all I wanted to say at the moment, and I
8 will ask if you have some questions you would like to ask at
9 this point.

10 DR. CORDING: Thank you very much, Dick.

11 Questions from the Board.

12 Don Langmuir.

13 DR. LANGMUIR: Dick, you spent some time telling
14 us about consideration of zeolites and trying to protect
15 them from breakdown.

16 DR. SNELL: Yes.

17 DR. LANGMUIR: But you didn't indicate or I didn't
18 catch what you would be doing or might do in the design of
19 the repository that would be a cost factor in order to keep
20 that limit at 90 degrees at the zeolite horizons. Is there
21 a cost factor that we need to consider? Does it increase
22 our cost significantly?

23 DR. SNELL: Based on what I know right now, I
24 don't think it does, no. As I mentioned, the numbers that I
25 put forward in protecting the zeolites I think are really

1 conservative numbers, and I think as we refine those it
2 appears that we can use the thermal management strategy and
3 take the other approaches that we are intending to take
4 without any special engineering or construction actions and
5 we will not damage any of the zeolites; we can preserve them
6 with out a cost delta.

7 DR. LANGMUIR: There are a couple of
8 considerations on the zeolites, as I understand it. I
9 wonder if one is even a consideration at all anymore, and
10 that is the possibility they will adsorb significant amounts
11 of radionuclides. I doubt that that is relevant. Cesium
12 and strontium they will adsorb and they will be gone in 100
13 years or so. I am reminded that neptunium may be adsorbed,
14 but if I can make it ten to the fourth less soluble it won't
15 matter; you won't need it for that, and you wouldn't need at
16 a sorption barrier.

17 The other effect it apparently has is a potential
18 source of a lot of water. So if you break up the zeolites
19 at high temperature they dehydrate. There have been a
20 numbers from Los Alamos on the volumes of water you might
21 release, which could be an issue in terms of performance.

22 Have you considered that aspect of their behavior
23 as an issue at all in thermal loading?

24 DR. SNELL: As far as water generation, no, I had
25 not. Some of our folks perhaps have, but we haven't looked

1 at it as yet.

2 To go to your first point, if it turns out that we
3 don't need it, that is, it doesn't really provide
4 significant benefit to us from the standpoint of performance
5 overall, if the situation is such that it absorbs the wrong
6 nuclides or ones that are taken care of in other ways, no
7 big benefit for us, that is good news in one respect. We
8 won't have to use extraordinary measures then to preserve
9 them.

10 DR. LANGMUIR: But you are not using them, as you
11 say, anyway. So it doesn't matter. You have not pointed
12 out there was anything you were going to do to change what
13 you intended anyway. Your normal procedure as you planned
14 it would provide that 90 degree buffer apparently as you
15 currently design it.

16 DR. SNELL: The reason that we are taking that
17 approach is just prudence. I don't want to degrade or
18 damage or impact any of the natural features if we can avoid
19 it, and it appears with the assumptions that we have made
20 that we can preserve that natural feature without any
21 extraordinary measures from an engineering construction
22 standpoint. So the approach is okay. We will go ahead with
23 what we have right now. We will use these as design basis
24 numbers for us.

25 If it should turn out that we are forced to go to

1 some extraordinary measures and therefore we have big cost
2 drivers or some other performance impact in order to
3 preserve the zeolites and further the zeolites don't provide
4 major benefit to us, then I think we would have to revisit
5 that; we might want to change our assumptions.

6 DR. LANGMUIR: I would be curious. I don't know
7 whether Julie Canepa remembers the report, but I thought
8 there was a recent Los Alamos paper indicating large volumes
9 of water might come off the zeolites under high thermal
10 loading. Would she comment on that if you can't, Richard?

11 DR. CANEPA: Don, I knew you were going to ask me
12 a question I didn't know. Yes, you are right. Our input to
13 the near-field report and some of the systems work did show
14 a fairly large volume of water that would come off. The
15 impact I can't speak to.

16 I think that the thermal data that Bish has been
17 providing to the systems people and why we would like to
18 keep it at 90 degrees is because we are more interested in
19 whether the zeolites may dehydrate but will they rehydrate.
20 I think we would prefer to maintain that mineral stability
21 so it can rehydrate so you don't promote other alteration of
22 the zeolites.

23 DR. LANGMUIR: So it's the hydration issue as much
24 as anything else.

25 DR. CANEPA: Yes, because then you are starting

1 into some of the kinetic work that you might hear from Bish
2 and his colleagues. We are not anxious to have the zeolites
3 transform to something that is less sorptive.

4 DR. CORDING: Thanks, Julie.

5 DR. CANTLON: Earlier there was apparently two
6 data sets one of which forecast high humidity at high
7 temperature and another one somewhat lower. Has that been
8 resolved now to your satisfaction?

9 DR. SNELL: My answer is probably not. I'm not
10 familiar with the specific references that you are alluding
11 to. I recognize that the work is out there and there have
12 been different approaches. The whole issue of drift
13 humidity and what we are likely to see in my mind is still
14 wide open. I don't think we are at any point yet in design
15 or at least I'm comfortable that we are in the right place.
16 We have got a lot of evaluations to do.

17 DR. CANTLON: A follow-up question on the
18 corrosion experiments. Again, the welds are a sensitive
19 part of the package and sensitive to corrosion. Are you
20 comfortable that the corrosion experiments have incorporated
21 enough of that to get a real measure of it?

22 DR. SNELL: I am embarrassed to say I'm not sure
23 how many weld quality coupons we have got in there. Hugh,
24 if you are familiar.

25 DR. BENTON: The corrosion testing includes both

1 samples of one metal and then welded samples or at least
2 joining the two metals together. We expect to follow those
3 closely to see whether there is any deleterious effect of
4 corrosion on the welded sections.

5 DR. CORDING: Russ McFarland.

6 DR. McFARLAND: Several years ago when Livermore,
7 Tom and Jim and others generated the line loading concept
8 one logic that was very appealing at the time was that as
9 the heat mobilizes the water in the near field you had point
10 loading 20 meter separated packages and a hot package next
11 to a cold package. It was stated there was a high
12 probability that you could mobilize this water into the
13 colder package. Has something changed? Has thinking
14 changed on this with regard to the potential for mobilizing
15 water away from a hot package towards a cold package?

16 DR. SNELL: I think there may have been some
17 changes. I will ask a couple of people that may be here to
18 comment further. In the early models that Buscheck was
19 doing, for example, when you looked at high heat output
20 packages and spacings of 20, 30 or 40 meters apart and you
21 looked at the pictorial, if you will, it looked like you had
22 over each package a little umbrella, kind of the reverse of
23 an umbrella, but kind of a little umbrella. The tendency
24 would be shed water into the intervening spaces and you
25 could maybe create that.

1 A couple of things have happened. First of all,
2 there has been a lot of coordination on the thermal modeling
3 effort. Buscheck and two or three others that have worked
4 the models have compared notes. One of the things that has
5 gotten more attention recently is the same basic assumptions
6 are being used by the different modelers in how they
7 construct their models. In some of the early work the
8 assumptions used in creating models were quite different for
9 the same basic set of conditions.

10 I think that umbrella kind of concept, while it
11 might still be there under certain circumstances, is
12 probably a less likely forecast right now. The tendency,
13 however, is still there.

14 I think with some of the line loading concepts or,
15 for that matter, some of the other loading concepts that we
16 are looking at with the spacing, with control of the spacing
17 in some of the modeling information now, I think we are
18 getting away from that probability. Moreover, I would say
19 that we don't want to create a situation where we have got
20 heat driving moisture off of one package and down the drift
21 a ways and right back down into the drift on another
22 package. Obviously that is a bad situation.

23 If the models as we work them tell us that that is
24 still a possibility, I think we need to change our
25 emplacement approach. I think we either need to move those

1 high heat release packages closer together so we get rid of
2 those gaps between the umbrellas, if you will, or make some
3 other change in order not to have that happen to us.

4 DR. CORDING: Have you at this point settled on
5 the type of lining you would like to test in the drift scale
6 heater test?

7 DR. SNELL: Yes. We have selected one. We are
8 still talking with the Repository Consulting Board about
9 this. Some of the work on the cementitious materials is
10 also relevant. In a couple of recent meetings with the
11 consulting board we talked about three possible lining types
12 in the thermal test.

13 One was a steel set lining with mesh or some other
14 ground control material in between the steel sets.

15 Another option was a cast-in-place concrete.

16 A third option was precast concrete.

17 We recognize that with cementitious materials
18 there are some questions about the chemistry of cements and
19 therefore you might, well, is that the right kind of a test
20 to run?

21 Jean Younker's people in performance assessment
22 and some of the science folks are looking at various kinds
23 of cements. We have talked with some folks from AECL in
24 Canada, I believe, and others about cementitious materials.
25 We think, based on information that has become available so

1 far, that those still look like viable materials to use in
2 the repository. You can do concrete mixes that give you
3 relatively lower pH's from those that you would
4 conventionally get by doping the mixes with additives.

5 Given that concrete is still viable, we originally
6 intended to test all three types, a steel set, a precast,
7 and a cast in place. Based on discussions with our own
8 people and those on the board, the logic goes something like
9 this. The use of steel sets as a ground support for the
10 repository long term is probably unlikely, or it is a less
11 likely option, we think, than concretes, partly because of
12 corrosion conditions and some of the thermal conditions. So
13 a concrete liner is the more likely.

14 In looking at the excavation methods that they use
15 for the thermal test alcove, the tunneling technique gives
16 you a rougher finish. It's a drill and blast. It is a
17 rougher finish than you would get out of a tunnel boring
18 machine. If you use a rough finish and try and put a
19 precast section against that rough finish, it's a difficult
20 situation and probably not representative of what you would
21 get in the repository. In order to smooth it out or
22 simulate what you get out of a TBM you have to go in and put
23 something behind it, maybe a spray coat of some kind.

24 DR. CORDING: Another lining.

25 DR. SNELL: Another lining. If you do that, you

1 lose the similarity with the precast section.

2 Moreover, the attitude was if precast behaves well
3 in this environment, our expectation -- this is kind of a
4 collective view, I think, technically from the folks working
5 on this -- our expectation is that a precast segment liner
6 would work even better. It is going to be at least as good
7 as a precast section and probably better. I think the
8 reason they expect it to be better is because of its ability
9 to squirm a little bit, that is, respond better to whatever
10 ground motion you might get as a result of thermal action,
11 and so forth.

12 DR. CORDING: The precast being better than the
13 cast in place?

14 DR. SNELL: Better than cast in place, right.

15 With those kinds of conclusions, we said, well,
16 let's look at a cast-in-place test section in this thermal
17 test. If it works well and we decide we like precast for
18 various reasons, it ought to be a good deal better than what
19 we have done in this test. Those are the two most likely.
20 Right now it is the cast-in-place concrete test section.

21 Incidentally, in the front end where they are
22 doing a lot of the thermal and hydrologic testing there is
23 some conventional ground support. They are using mesh and
24 so forth there.

25 DR. CORDING: That's good.

1 One thing I have observed in cases where the
2 ground comes in on support, not in a thermal case, but where
3 the ground was continuing to push in on support systems is
4 that in many cases it wasn't the fact that you had high ring
5 loads; it was the fact that you had a surface behind the
6 lining that had variable stiffness and perhaps a loosened
7 zone in the crown, which can be very common, or incomplete
8 filling of grout or whatever behind the lining. So as the
9 ground loads or the thermal stresses would come on, as you
10 put compression on the lining there is a tendency for it to
11 move into the low stiffness areas, and that can create
12 bending and cracking.

13 Ultimately I think the performance of these
14 continuous systems depends very strongly on what sort of
15 contact you have around the lining and how well it is bonded
16 or tied to the ground in terms of not having gaps present.
17 I think that is probably going to turn out to be -- it might
18 be one of the features you can even observe as you do the
19 thermal tests.

20 DR. SNELL: I agree. I get nervous just looking
21 at even relatively smooth ground behind a liner that is
22 going to go in precast. Just the idea that you have got
23 irregularities, rough spots, high points, low points, and
24 those give you point loads and other unhappy circumstances
25 on the structure you put in.

1 DR. CORDING: Thank you.

2 Other questions? Bill Barnard.

3 DR. BARNARD: During Dick's response to John
4 Cantlon's question it seemed like Jean Younker wanted to add
5 a few details.

6 DR. CORDING: Jean, I'm sorry I didn't see your
7 signals.

8 DR. YOUNKER: Jean Younker, M&O. Thanks for
9 watching out for me, Bill.

10 I think he really did come back and answer the
11 question completely. I think what Dr. Cantlon was referring
12 to was at the time that TSPA-95 was completed, just in the
13 final review we had come up with a situation where some
14 modeling that Tom Buscheck had done on relative humidities
15 predicted quite different relative humidity in the near
16 field than what we had used in TSPA-95. We had our people
17 work very closely with Tom to figure out what the difference
18 were. They have now come together in agreement and we use
19 exactly the same approach now as what Tom uses in his
20 modeling.

21 It had to do with assumptions, with the way the
22 modeling was set up, with the gridding. It had to do with
23 the actual way the models were constructed. They are now
24 coincident. We don't think we have any more gaps in that.

25 DR. CANTLON: In which direction, high or low?

1 DR. YOUNKER: We kind of met in the middle.

2 DR. CORDING: Thank you very much. Thank you
3 also, Dick, for your presentation. We are little head of
4 schedule. I think we will go directly to our public comment
5 session or any other questions that are of a more general
6 nature.

7 DR. SNELL: May I make one or two overall
8 comments?

9 DR. CORDING: Please. You're going to summarize
10 for us.

11 DR. SNELL: Listening to the questions and the
12 back and forth during the sessions there are some general
13 comments I would like to make, and I will make them brief.

14 A lot of what we are doing now is in a formative
15 state. We are in a preliminary conceptual. You may get the
16 impression at times that it is awfully loose.

17 I guess the point I wanted to make is that as we
18 go forward, particularly in 1997, we are going to set some
19 design bases, that is, get them committed to writing so that
20 it's a little easier to say this is what we are using here,
21 here, here, and so forth, as opposed to saying, well, we're
22 still working on that and we'll get back to you. We will be
23 formalizing the design bases as we go forward.

24 With reliability, maintainability issues clearly a
25 major effort, I just wanted to comment that, as I alluded to

1 earlier, there will be a reliability, availability,
2 maintainability effort as a normal part of the design.
3 There was a comment about the fact that there is probably
4 some pretty good history in some other programs that may be
5 beneficial to us. The community of technique folks that
6 work in that area do talk to one another a great deal. So I
7 would hope to capture a lot of that operational and
8 availability, maintainability experience from other programs
9 as we go forward and formalize some of this RAM work.

10 You commented at various times that technology
11 changes. Clearly it does. This is a long-range program.
12 We are talking about a long time. So I think as we go
13 forward one of the things we want to recognize and will
14 recognize is that there are going to be changes; we need to
15 maybe even come up with some kind of a structured or
16 formalized way to assess technology changes and see if they
17 can't be applied to the program as we go forward. We don't
18 want to get ourselves locked in and say, no, no, we can't
19 ever consider anything different, because as we have already
20 done it that way, I think I would like to keep the options
21 open when we reasonably can. So I think we want to do
22 something on that.

23 Just as a general comment related to thermal
24 strategy and some of the other issues that pertain to it, we
25 really haven't done very much yet in terms of looking at the

1 design particulars in the drift and in the design details in
2 the drift.

3 You talked about things like getting water in
4 behind the liner, and so forth. There are a lot of things
5 that we can do from a design standpoint if we need to to
6 help us. In other words, cause water to be shed around the
7 drift as opposed to allowing it to drip; how we handle
8 drainage features in the drift design; whether we want to
9 put material additives in the bottom of the drifts or modify
10 the invert designs that we have talked about. There are a
11 whole host of things that we can do. We will get to them.
12 There are a number of beneficial things that are available
13 to us we will talk about some more.

14 One other comment I wanted to make has to do with
15 the kind of a facility we have here. One hundred and twenty
16 miles of drifts in the underground is a lot of underground.
17 The good news is that any time you are doing a repetitive
18 design, and these are in many ways repetitive even though
19 Mother Nature changes the particular in each drift that you
20 get into, there really are some major advantages. You can
21 do a lot of intensive engineering on a typical drift, if you
22 want to call it that, and really come in with good
23 refinements, very careful analyses.

24 It pays off huge dividends because you take that
25 intensive work on one or two or three basic designs and then

1 you can apply it multiple times and there is a lot of money
2 to be saved and a lot of time to be saved in doing that.
3 That is one of the things we want to take advantage of.

4 With that I will be quiet.

5 DR. CORDING: Thank you. We really have seen some
6 real progress in the repository design concept and you have
7 been able to make modifications from the conceptual design
8 that you put out earlier in the year.

9 I think we also very much appreciate this
10 identification of key issues that you have. It provides us
11 with a list of items that we can discuss with you at future
12 meetings. I think that is going to be very helpful to us.
13 We can focus on various of these key issues and your
14 identification of them certainly brings that to prominence
15 in view of the program, I think, in terms of your own
16 interactions. I think that has been a very helpful part of
17 the development of the repository design itself.

18 Let's go now to the public comment. Any general
19 comments that people on the board or in the audience wish to
20 make, we will entertain those at this point.

21 Do we have anyone signed up at this point for
22 comment?

23 [No response.]

24 DR. CORDING: No one signed up, but that does not
25 prohibit people from commenting at this point. We will go

1 back to the Board and let Jared Cohon comment.

2 DR. COHON: We saw yesterday for the first time a
3 detailed schedule for the program, the long-range plan all
4 the way through licensing the LA. The press of time did not
5 give Steve Brocoum and his colleagues a chance to respond
6 fully to the question I asked about whether that chart that
7 we saw and what lies under it had been subjected to the
8 critical path method or other similar models and what could
9 be used and learned from them. I have this feeling that
10 Richard Craun might be prepared to say something more in
11 that regard.

12 DR. CRAUN: Richard Craun, DOE. That is twice in
13 the last couple of months I volunteered.

14 What I wanted to do was just share with you in
15 going through and trying to establish the mission of the VA
16 office one of the things we are looking at is trying to
17 figure out a way in which we can track and provide Dr.
18 Dreyfus and other senior managers the information on how are
19 we doing on VA. In order to do that, what we have started
20 identifying, one, we have a schedule, but we are looking at
21 going through that schedule and identifying those key
22 activities, those critical activities that need to be
23 performed over the next two-year period of time in order to
24 reduce the uncertainties, to improve our understanding and
25 our documentation associated with the waste isolation

1 strategy.

2 We are in the process now of identifying those
3 activities and relating them to the waste isolation
4 strategy. We will end up developing what I call an inner
5 core of activities associated with the viability assessment.
6 Those activities will help us focus on the uncertainties
7 that need to be reduced between now and the end of 1998.

8 It doesn't mean that the remainder of the VA
9 activities are not essential. By that I mean, for example,
10 as presented by the engineering personnel today, that the
11 surface design since we switched from an MPC to a canistered
12 fuel will have to have general layout drawings in order to
13 have the cost estimates associated with the VA. So those
14 elements, even though they aren't directly related to
15 reductions of uncertainty, they need to be done in order to
16 have a viability assessment.

17 We are in that process of identifying the key
18 issues that we are wanting to similar to what engineering
19 has done but doing that across the project and then
20 developing that inner logic associated with the schedule
21 that we have currently available.

22 So those are the activities that we are pulling
23 together. That will allow us to not only look at critical
24 path. Once you develop that inner schedule or logic, that
25 will allow you to look at some risk assessments. For

1 example, if you have variable durations, if you have a
2 confidence of a duration of four months and a higher
3 confidence that you can get it done in six months, we can
4 look at some of those risk assessments associated with the
5 schedule.

6 Those are some of the activities that are
7 starting, the M&O is starting. They are well under way on
8 those activities to pull together a detailed critical path
9 assessment.

10 DR. CORDING: Thank you.

11 John Cantlon.

12 DR. CANTLON: Alden, I would like to raise this
13 question. Has any thought been given to the possibility
14 that the drift floors themselves will become water conduits.

15 DR. SEGREEST: The emplacement drifts are designed
16 with slope so that any water that does get in will run out
17 into the access drifts rather than the emplacement drifts.
18 So there is some consideration that water will move through
19 them, yes.

20 DR. CANTLON: As a consequence, that also will
21 mean there will be conduits for radionuclides at some future
22 date concentrating the points of flux.

23 DR. SEGREEST: There is a lot of consideration into
24 what will be designed underneath the packages within the
25 drifts as far as what kind of packing, what might be placed

1 in the invert. There is a lot of consideration that is
2 being factored into the performance assessment work that is
3 being done. A lot of things are being considered there with
4 the different types of materials, the impacts on those
5 materials as far as slowing the transporter, retarding it,
6 or whether it may increase it. It is all being looked at
7 pretty close.

8 DR. CANTLON: The difficulty I see is the tradeoff
9 between trying to manage the water intelligently and then
10 paying the price of having concentrated and sped up the
11 movement of radionuclides to the water table.

12 DR. SEGREST: There are some designs that we can
13 use as far as materials that we would place in the invert.
14 You can look in certain other industries as far as what they
15 done, as far as how they have used the materials for lining
16 trash dumps or filter systems or anything else to retard the
17 motion or to contain the water within it. So we are looking
18 at some of the technologies they use there as to how we
19 might design the materials in the invert.

20 DR. CANTLON: The basic presumption is that the
21 repository as a total layout is going to act as a retarded
22 of the system, but if you have now designed it to accelerate
23 drainage, it isn't going to work that way.

24 DR. CORDING: Thank you.

25 Any other comments from the floor?

1 Richard Parazek.

2 DR. PARIZEK: I had one question regarding the
3 100-year earthquake that Clarence Allen is implying probably
4 will occur. For instance, on doors for the placement
5 locations, if they get stuck. Is this being thought about
6 in the design as to how you put placement doors in and open
7 and close them as needed in the event of earthquakes, and so
8 on?

9 DR. SEGREEST: Yes, it is, and there will be a lot
10 more work done on that. Right now the earthquake condition
11 we have to deal with is a .75 G. That is not extremely
12 firm. We feel it could move up or down a little bit but not
13 a great deal.

14 Additionally, we are expecting to be able to use
15 attenuation with depth so that at the repository horizon we
16 may only have to deal with something on the order of half
17 that magnitude earthquake.

18 With those considerations, any operating equipment
19 or devices in the repository are likely to have to be
20 seismically designed to those levels.

21 DR. PARIZEK: There is quite a bit of thought
22 given to the repository layout. Maybe the way in which it
23 would be developed -- I will give you an example. We have a
24 desire to mine stone and we first may quarry the stone
25 because we can get a lot of money back in a hurry. Then we

1 go deep and we continue to mine stone. Then we bring the
2 water with us and for the next 45 years we are fighting the
3 water problem that we induced because we went for the
4 profitmaking stone first.

5 Here in the repository you have now two access
6 ways for placement drifts, which is a change from maybe
7 having only one. Then the idea of the whole ventilation
8 system and access as you create it in time may cost you a
9 lot of money if you do it one way first versus having had a
10 choice to do it another way if you thought about it. I am
11 sure that is probably in the thinking right now of all the
12 options you have for how to develop this repository to save
13 money in the time of tunneling and placement. I think a
14 couple earlier illustrations showed waste being placed right
15 up close to the access tunnel. Is that the place you should
16 begin, or should you begin further south, as an example?

17 These are kind of interesting points. You might
18 save money in the long run in running this place if you
19 start putting waste in one part of it versus another part of
20 it.

21 DR. SEGREST: Indeed. In fact in the sequence of
22 construction events we are assuming emplacement through the
23 north portal. Of course the emplacement begins long before
24 construction is complete. So we are actually constructing
25 north to south.

1 There has been some discussion of using the south
2 ramp for emplacement and the north ramp for construction.
3 We thought about it some, but our current plans are still to
4 maintain the construction from the north to south direction.

5 DR. PARIZEK: Beside the welded joints on the
6 waste packages and the canister there is the question of the
7 stress points on the pedestals. If water gets in contact
8 with the canisters in the vicinity of these pedestals and
9 that is where the weight is being borne on those, is that
10 going to be kind of a hot spot for corrosion and how does
11 one address that kind of problem?

12 It seems like the corrosion experiments are small
13 pieces. Now we know it is also welded pieces and two layers
14 and one layer, but when you subject the whole thing to
15 stress, you have got to somehow see where the weak parts are
16 going to be with that real package being placed in those
17 emplacement drifts and sitting there on the pedestal with
18 water puddling in at the contact through time, unless that
19 is where the shield comes, and then that is where the liner
20 comes. Maybe that solves that problem for you. But it
21 seems like there are some very important things that need to
22 be talked about here. Or thought about.

23 DR. SEGREST: Hugh, did you want to respond to
24 that?

25 DR. BENTON: We certainly agree that there are

1 many considerations that we need to think about. For
2 instance, the height of the pedestal. We would like to have
3 the height low so that if for whatever reason a waste
4 package comes off of one pedestal we don't get a very severe
5 tilt to the waste package, which could in the long run
6 exacerbate the criticality control analysis.

7 On the other hand, we want it high enough so that
8 there is little chance of puddling underneath one of the
9 pedestals.

10 So those things are being considered. In our
11 analysis of the waste package we will consider the stress
12 conditions in the weld area, in the pedestal area, and
13 everywhere else.

14 DR. CORDING: Thank you.

15 John Arendt.

16 DR. ARENDT: I have got a question on the
17 viability assessment. When that is due, will there be a
18 design package? Is there going to be a big stack of
19 drawings that are going to be available that one could go
20 ahead and design the repository and all the equipment or
21 even purchase equipment that is going to be needed? What
22 actually will be in that viability assessment package?

23 I have heard there is going to be a letter and the
24 letter will say, well, there are design drawings and there
25 is a cost estimate, but what do you anticipate will be

1 available in terms of a design package, drawings?

2 DR. SNELL: I am going to start a response and I
3 will let Jack Bailey pick it up wherever he wants to,
4 because we have been working on this for a while now.

5 We still have not with DOE fully set the exact
6 contents of the package, but I will say that the work that
7 we are doing toward viability assessment also has merit for
8 license application. Jack did mention I think yesterday we
9 are talking about a one-pass design. We will begin designs
10 now. We are going to carry them forward all the way beyond
11 VA.

12 What is available at the time of VA will be a set
13 of design information, I will say, which will include some
14 drawings and some specification information, which I will
15 call not to think of in terms of finished specs but
16 performance requirements information on major components of
17 the design. They would be the forerunners of the
18 specifications, if you will.

19 The approach that we are using is that we have
20 talked about binning the design activities, putting things
21 in bins, bin 3, bin 2, bin 1.

22 Bin 3 items are those that we believe are
23 especially critical for performance and items for which
24 there is not a great deal of precedent with the NRC. So we
25 are focusing a good deal of attention on those.

1 So-called bin 2 items are those where they are
2 important, they have safety implications, but for which
3 there may be a little more precedent already existing in the
4 industry.

5 Bin 1 items are those which are relatively
6 straightforward or conventional items.

7 Given the fact that we want to work on the most
8 sensitive items and those with lack of precedent first, the
9 package at viability assessment will have a higher content
10 of those bins 3 or sensitive items, an intermediate content
11 of the bin 2 items, and relatively little of bin 1, because
12 they are fairly straightforward. There will be enough of
13 the latter so that we can support the cost estimates. There
14 was a reference to that earlier.

15 The state of completion on bin 3 items will be
16 more advanced than those on bin 2 and further bin 2 more
17 advanced than those on bin 1.

18 So what you will have will be the letter, if you
19 will, that Dan Dreyfus would submit, the attachments to the
20 letter, the design, the TSPA, the estimate and the licensing
21 plan, and then in the design package a set of information
22 which would be partially complete drawings, and, as I say, a
23 larger percentage of the bin 3, lesser for bin 2, a little
24 bit of bin 1, and state of completion highest on bin 3.

25 In terms of an overall completion on design, a

1 relatively low percentage of the total design reflected at
2 the time of VA. We will have enough information there so
3 that one can clearly understand the basis for the TSPA for
4 the performance assessment and enough information to easily
5 support the cost estimate, because you need some basis on
6 which to prepare those costs. And I think there may be some
7 of it which would be illustrative of what is needed for the
8 license application and the LA planning.

9 That is about it.

10 DR. CORDING: Thank you very much. We are ready
11 to close our session. Particularly I would like to comment
12 on behalf of the Board in thanking Dr. Dreyfus, the DOE
13 staff and the presenters for their assistance in developing
14 the agenda for this meeting, for their participation, and
15 for the quality of the presentations we received in the past
16 two days. We very much appreciated the opportunity to have
17 the extra time to engage in discussions with the presenters.
18 We appreciate their willingness to do that also.

19 Certainly we see much progress in the program. We
20 see much more of a focus on key issues. Things appear to me
21 to be converging, that we are coming toward solutions as the
22 program approaches the viability assessment and as it looks
23 forward to a suitability determination.

24 We received information yesterday on the program
25 plan, Dr. Dreyfus' presentation, and then Steve Brocoum's

1 discussion of the activities for the next year. We see, I
2 think, a clarification of the plan.

3 Then, as we look at other aspects, the performance
4 assessment and increased integration, increased emphasis on
5 that, and the continuing effort in the area, which certainly
6 has to be a continuing one, we see a bringing together of
7 some of the scientific concerns and the designs, the things
8 that we have learned today with the plans for the repository
9 design and operation and the identification of those key
10 issues.

11 The other area yesterday that we focused on was
12 site characterization studies. We appreciate receiving the
13 updates, not just on what has been done or what the plan is,
14 but what does it mean. The data is being collected. It has
15 to be evaluated in real time. It seems to us that that is
16 happening.

17 Of particular concern is the relationship between
18 the geologic conditions underground, site conditions, rock
19 characteristics, structure, and moisture flux and the
20 transport into, through and out of the repository. In that
21 area we are looking forward to additional progress as the
22 work goes forward this year. We recognize that you are on a
23 very steep curve; there is much being obtained, much
24 remaining to be completed. We look forward to hearing of
25 those plans for the further exploration and testing and

1 evaluation of things such as the ambient moisture conditions
2 and flux.

3 Again, we thank you very much and we appreciate
4 the opportunity to interact with you and the effort that you
5 have made to do that with us.

6 I would like now to turn the meeting over to our
7 Board Chairman, Dr. John Cantlon.

8 DR. CANTLON: I don't need to say much more than
9 Ed has already said. We certainly thank the M&O people and
10 the DOE people for providing us with this update. We will
11 look forward to the next iteration. I have the joy of being
12 able to adjourn this session.

13 [Whereupon, at 12:40 p.m., the meeting was
14 concluded.]

15
16
17
18
19
20
21
22
23
24
25