

UNITED STATES
NUCLEAR WASTE TECHNICAL REVIEW BOARD

WINTER BOARD MEETING

January 26, 2000

Alexis Park Hotel
375 East Harmon
Las Vegas, Nevada 89109

ADDRESSING UNCERTAINTY
REPOSITORY SAFETY STRATEGY
SCIENTIFIC PROGRAMS UPDATE

NWTRB BOARD MEMBERS PRESENT

Dr. Jared L. Cohon, Chair
Dr. Daniel B. Bullen
Dr. Paul P. Craig
Dr. Priscilla P. Nelson
Dr. Richard R. Parizek
Dr. Alberto A. Sagüés
Dr. Jeffrey J. Wong
Mr. John W. Arendt
Dr. Donald Runnells

SENIOR PROFESSIONAL STAFF

Dr. Carl Di Bella
Dr. Daniel Fehringer
Dr. Daniel Metlay
Dr. Leon Reiter
Dr. David Diodato

NWTRB STAFF

Dr. William D. Barnard, Executive Director
Michael Carroll, Director of Administration
Karyn Severson, Director, External Affairs
Ayako Kurihara, Editor
Paula Alford, External Affairs
Linda Hiatt, Management Analyst
Linda Coultry, Staff Assistant

CONSULTANTS

Daniele Veneziano, Massachusetts
Institute of Technology

Robert Bodnar, Virginia Polytechnic
Institute and State University

Jean Cline, UNLV

I N D E X

	<u>PAGE NO.</u>
Opening Remarks	
Jared Cohon, Chairman, NWTRB	5
Repository Safety Strategy	
Paul Craig, Session Chairman	5
Update on the Yucca Mountain Repository Safety Strategy	
Jack Bailey, Management & Operating Contractor (M&O)	6
Application of Principal Factors: Seepage Studies	
Bo Bodvarsson, Lawrence Berkeley National Laboratory (LBNL)	44
Application of Principal Factors: Drip Shield Design	
Thomas Doering, M&O	69
Simplified TSPA Capability	
Mark Nutt, Golder Associates	100
Public Comments	126
Scientific Programs Update	
Donald Runnells, Session Chairman	149
Update on Ongoing Work: Overview	
Mark Peters, Los Alamos National Laboratory (LANL)	149
Natural Analog Studies	
Ardyth Simmons, LBNL	207
Natural Analog Studies	
John Stuckless, U. S. Geological Survey	225
Fluid Inclusions: Capabilities and Limitations	
Robert Bodnar, Virginia Polytechnic Institute	245
Fluid Inclusions: Results of Yucca	

Mountain Studies
Jean Cline, University of Nevada, Las Vegas . . . 271

**Busted Butte Studies and Update on
Site-Scale Flow-and-Transport Modeling**
Paul Dixon, LBNL 296

Public Comments 336

Closing Remarks and Adjournment
Jared Cohon, Chairman, NWTRB 349

1 This is repository safety strategy, and our first
2 speaker is Jack Bailey, who's on for a half an hour. And the
3 procedure we're going to follow is that a few minutes before
4 it's time for you to stop I'll start to wave, and thereafter
5 comes the hook. So we're going to try to stay on schedule--
6 we will stay on schedule.

7 Jack Bailey is director of regulatory and licensing
8 for the Management and Operating Contractor. He's
9 responsible for implementing and defining license strategies
10 for M&O, including technical approaches as well as developing
11 a nuclear safety and quality culture. And he got roasted on
12 this subject, he tells me, only recently. So it's an
13 interesting one for me.

14 Mr. Bailey will provide us an update on the
15 evolution of the repository safety strategy. Welcome, Jack.

16 BAILEY: Thank you. I will be speaking on the update of
17 the repository safety strategy. At a fall meeting Michael
18 Voegele discussed with you the initial development, if you
19 will, of the safety strategy, the identification of the
20 principal factors, and how we arrived at the safety strategy.

21 This week we have finally pushed that system--that
22 document through the review cycle, through the publishing
23 cycle, and there are some available in the back of the room.
24 There were yesterday, as well.

25 Rev. 3 was developed following the LADS work, the

1 LA design selection work that we did last summer. It was
2 developed based on some preliminary analysis, which I will
3 describe in the course of the 30 minutes that I was allowed.
4 And it is an ongoing process, as I'll discuss.

5 This takes Abe's slide from yesterday. Abe talked
6 about managing the uncertainties, analyzing the quantified
7 uncertainties, assessing all the uncertainties and
8 communicating the uncertainties. What we tried to do in the
9 RSS is capture each of those activities.

10 We have not tried to capture the specific analyses
11 that perhaps led to that, for example the managing of
12 uncertainties occurred during the LADS development work. We
13 made some decisions and some selections of design approaches
14 of what we should rely upon during that process. They're
15 reported in the repository safety strategy. That's what I'm
16 going to try and talk about today and explain.

17 The general elements, we summarized the status of
18 the postclosure safety case. We look at--and you'll see a
19 few slides later--how we assemble the important parameters,
20 the important aspects of that safety case. We listed what
21 we call principal factors.

22 To hearken back to yesterday's discussion, that's
23 how we focus on what is most important in this what we call a
24 safety case, in our evaluation of this system. What are the
25 things that really make a difference, so that we can examine

1 the uncertainties, we can examine our understanding.

2 Now we describe the strategy for the updated
3 postclosure safety case, and I'll hearken back to Bob
4 Bernero, who said "Understand the body of knowledge." And
5 that's what these five things are trying to do.

6 The first is extremely important, and that is the
7 performance assessment. That is our tool where we do our
8 evaluation to gain understanding, and that's what gives us a
9 number, if you will, to compare to the standard. It also
10 allows us to do a variety of sensitivity studies and gain
11 understanding of the total system and what's most important
12 in the total system.

13 As Abe said yesterday, it takes us a few months to
14 do the TSPA and months to put together the analysis of what
15 we know. In addition, we looked at safety margin and defense
16 in depth. And you can look at safety margin in a couple of
17 ways. One is what's the separation from the standard both in
18 time and in dose? Are you close to the standard?

19 As Warner North said yesterday, if we're arguing
20 24.99 or 25.01, we're probably talking about the wrong thing.

21 So how close are we to the standard and when does it occur?

22 We have to look past the 10,000-year regulatory period to
23 make sure that nothing falls off the table, that something
24 happens at 10,001st year or the 10,002nd year. So we need to
25 look at that whole picture and gain an understanding there.

1 There also is a margin piece which wasn't discussed
2 yesterday, and it's not discussed in great depth in the RSS
3 but is inherent in everything that we do. And that is that
4 the goal of the modelers and the goal of what we're trying to
5 accomplish with the study is as we build models we want them
6 to be realistic to conservative. Nothing different than
7 that. Nothing we would call optimistic.

8 Let's take an answer and say "Let's see how good we
9 can make it." Or "Take it out of a peer available--is it
10 realistic?" We really want it to be somewhere between
11 realistic and conservative, which means that those numbers
12 that you see, the means if you will--if we've done our job
13 right--are realistic to conservative.

14 And there's a number of these, and I'll talk about
15 a couple of them as we get to the factors, where we know
16 we're taking very conservative opinions. And when we look at
17 the findings that we have from our peer review panel, from
18 our technical reviewers such as you and others, and expert
19 elicitations, our criticisms were "You're doing things too
20 optimistically. It's going to behave more conservatively
21 than that," and we're really working to take all these
22 analyses from a realistic to a conservative nature.

23 Now when you take everything to a conservative
24 nature you start hiding knowledge because you may bury an
25 understanding inside of a conservatism. And I'll show you

1 one of those in a few minutes. And so we have to keep our
2 mind open to that, to consider it, and the sensitivities are
3 interesting. Your sensitivities can be hidden by being too
4 conservative. But in a margin sense we have to look at
5 making sure we stay in a realistic to a conservative mode so
6 that we can have confidence in that mean value that we see.

7 Defense in depth was discussed at some length
8 yesterday. Layering is another term for that--how many
9 different ways do you have to accomplish your goal? And
10 we'll talk a little more about that.

11 We have to do an explicit treatment of potentially
12 disruptive processes. In the reactor business that's the low
13 probability, high consequence event. Do we have something
14 that really creates a problem that would make this a no-go?

15 We look at natural analogs as a means to make sure
16 that if available is there something out there that gives us
17 a longer term understanding that our processes are going to
18 result like this, either at the subsystem or the system
19 level. And that was discussed briefly yesterday, and we have
20 some talks this afternoon of some of those investigations
21 we're doing.

22 And a performance confirmation program, which to
23 meaningful has to replicate conditions that we're going to
24 see in the future, so that once again we gain an
25 understanding of how the whole system will respond.

1 And then finally the RSS provides plans to update
2 the technical basis. We did this last summer and we're to
3 guide our planning. What is it that we need to do to move
4 forward? Where should we focus limited resources and what's
5 most important?

6 Revisions to the safety strategy--I'll point real
7 quickly. You can see the viability assessment, volume 4, had
8 a table and a section--actually all of volume 4--that says
9 what's important, how much do we know, how much more can we
10 learn, and how do we move forward. That was kind of a first
11 cut at what we were doing in the repository safety strategy.

12 We issued Rev. 2, which identified some our findings in that
13 regard. It was more detailed than in the VA.

14 The EDA, which we did last summer with preliminary
15 analysis, we did the same thing. We assessed information
16 needs and there very easily could be an error right here that
17 says we made decisions. What did we choose to rely upon and
18 why? Where did we choose to focus our resources?

19 And every time you assess your information needs
20 you make decisions. You'll notice you have an evolving
21 technical basis because you learn more, and you continue to
22 learn and you continue to revisit. What is the case, what
23 did we depend on, has what we depended on changed? And we'll
24 go and do it again for the SR.

25 Today we're going to talk about Rev. 3. We updated

1 the safety case from the VA because we got increased site
2 materials knowledge, and I believe that Tom and Bo will talk
3 to some of those pieces. There was a changed regulatory
4 framework. 40 CFR 197 came out in draft, 10 CFR 963 came
5 out. We had to consider those.

6 We enhanced the repository design. We looked at a
7 modified thermal management approach because of
8 uncertainties. Sticking to the theme of yesterday, heating
9 the entire block up created a lot of uncertainties. Where
10 did the water go? When did it come back? What happens?
11 Keeping an idea of a pillar between so that it would drain,
12 similar to what we're seeing in our drift scale test, seemed
13 to be a better design.

14 A more robust waste package--we had a waste package
15 that had an outer layer of carbon steel, an inner layer of
16 the corrosion resistant. And we're trying to accomplish a
17 couple of things: one, provide mechanical strength; two, get
18 through the thermal period so that we could keep the
19 kinetics, if you will, the high kinetics of corrosion, off of
20 the package.

21 And we created a number of problems because the
22 uncertainties associated with the steel C22 interaction. And
23 so we came up with a different design: turn it around, put
24 the corrosion piece on the outside, get the structural
25 strength on the inside so that we can A, lift it, and B,

1 protect ourselves.

2 And then we were in how do we get past the thermal
3 period, and the drip shield came to mind as a defense in
4 depth mechanism, which I'll talk about briefly; and it's
5 right there, the drip shield for getting us through the
6 thermal period, keeping water away, making a diffusive relief
7 if anything happens to the waste package.

8 And finally the potential for backfill for
9 mechanical reasons. We conducted preliminary TSPA and
10 barriers importance analysis. What we did is we took the VA,
11 TSPA and we modified it enough to capture what we believe
12 were the pertinent aspects of this design so that we could
13 move forward.

14 Now unreal cases--we talked about that a little bit
15 yesterday--and that is doing analyses which are perhaps not
16 valid in space because they can't really happen. But they
17 teach us something. And this is one of those, and these are
18 done with preliminary models again, as I said, and this is
19 only using mean values. This is not a probabilistic
20 solution.

21 We took and said "Well, what if we take all the
22 waste there is and we lined it up and we put it in water and
23 take it to its solubility limited values, and we provide it
24 to the biosphere or the VA?" What kind of dose will you see
25 for the people? And you can see it's a pretty significant

1 dose--not a real case. But it gets you an idea of what's
2 totally out there.

3 We then said "Well, let's put it in the mountain,
4 1000 feet underground, let's grind it up and throw it in the
5 drifts, no clad--nothing--just throw it in the drifts, and
6 let's let the natural system do its thing." And you can see
7 significant reduction because of the performance of the
8 mountain alone. Many orders of magnitude in the early stage
9 and the late--significant.

10 Then we went and said "Let's put it in a waste
11 package and let's take the nominal behavior of that waste
12 package as we understand it now," and you can see that you
13 went out a very long period of time before the waste package
14 started to fail. And the natural system did its job, the
15 waste package did this, and you push the answer out again.

16 And then we said "Let's do it one more time, and
17 let's put another piece, the defense in depth of the drip
18 shield," which moves the waste package out of the high
19 kinetics of the thermal pulse which occurs back here, let's
20 use the drip shield in that time frame, let's protect the
21 package with the drip shield, and what do you get? You get
22 no release for 100,000 years in a nominal case.

23 So when you put all of those together you can see
24 that you have a fairly robust system at a nominal case. This
25 slide does pretty much the same thing, small number of

1 relatively mobile nuclides. The system uses multiple natural
2 engineered barriers. That's what it does for us, and that's
3 a very simple calculation that we did.

4 In revision 3 we did two kinds of analyses. We did
5 what I just described as the nominal scenario, and that is
6 take everything at average and let's see how it works. We
7 got the answers that you saw. At 100,000 years not much is
8 happening. If we believe the numbers--not look at the vast
9 body of knowledge--if we believe the numbers it's time to go
10 home. We made it, 100,000.

11 We have to look and say "What can go wrong? What
12 are the uncertainties? What if?" And so we went back and we
13 did another piece, and we did these barriers analysis. We
14 did another, and said "Okay, for purposes of examination
15 let's take one waste package failure."

16 Let's say it has failed basically at the time of
17 emplacement, and then let's let the nominal behavior from the
18 point carry on, with one exception--which Abe talked to you
19 yesterday--and that is, is we took that waste package and we
20 made the first failure under nominal performance always occur
21 in the drip shield directly above that package.

22 And the seepage of course was occurring at that
23 same spot. So we created a conditional probability which is
24 fairly unlikely, but it gave us the ability to look and see
25 what happens if these engineered barriers don't work as fully

1 as we thought? What if the 100,000 is not real? Let's start
2 examining the body of knowledge again and do it in that
3 manner. So that's what we did.

4 Now we went and ran a series of what we call
5 barrier analyses, and I'm going to show you a couple of them.

6 Michael Voegele showed you a series of them the last time we
7 got together. And we did those evaluations and tried to
8 conclude what was important.

9 Now just so you don't think it was all math, we
10 also did some other pieces; and that as we called in the
11 performance assessment analysts who are very familiar with
12 their model and how their machine runs, and we asked them
13 "What are we doing wrong? What are the uncertainties that
14 we're not considering? What are the limitations of these
15 preliminary analyses? What else should we be considering
16 other than the math?" And we had a good dialogue with them
17 to tell us that.

18 We also brought in the process modelers. Remember
19 there's two steps to this: process modelers find truth, if
20 you will, as best they can in the nature of the system; and
21 an analyst create an abstraction so that they can calculate.

22 So then we brought in the process modelers and said "What do
23 you think about the system and how well the system is being
24 represented here?"

25 So we took both of those groups, the analysts who

1 play with it a lot at the back end, and the principal
2 investigators with "Is this working the way that we think it
3 is?" And we elicited them, so to speak, and said "How are we
4 doing? What is your confidence and representation of what we
5 have chosen, what we're concluding? And what's the
6 information that we need to address the current issues and
7 how can we do some simplifications?"

8 So this was just math. This was a very large
9 group. It started with about 60, and we concluded with a
10 smaller group towards the end, but we investigated and talked
11 through all these issues, not just the math.

12 Principal factors--when we did that, when we
13 gathered that group together and we asked people "How does
14 this drop of water work?" And if you've never noticed, the
15 goal here is the factors basically follows a drop of water
16 from the cloud to the biosphere. We obviously run into a
17 little trouble with a couple processes, but that seemed like
18 a likely place to put them.

19 So for a transparency approach we tried to get this
20 drop of water tracking through, and what happens to that drop
21 of water? What happens to hold it up? What happens to form
22 a barrier? So when we did this the first time and we met
23 with everybody, we came up with about 55 of those--two many,
24 overlapping, and we worked very hard. It actually took us
25 two or three meetings to get it down to about this many, to

1 condense and combine, because this is obviously a very
2 complex problem.

3 Now what's important in this slide is that the key
4 attributes, looking at water contacting the waste package,
5 the waste package lifetime, radionuclide mobilization and
6 release from the EBS, and transport away from the EBS, hasn't
7 really changed from Rev. 1, repository safety strategy.

8 What we've been trying to accomplish for many years
9 on this job, the strategy and the attributes of that strategy
10 have remained pretty much the same. How we model the system
11 based on our current understand changes. As I showed you in
12 the first with the evolving technical basis, evaluate the
13 case, make decisions, go back, test and keep going through.

14 So these are the ones that we came up with. As
15 Michael Voegele showed you last time, we did a number of
16 barrier analyses. We asked people, and we concluded that
17 these seven factors contribute the bulk of performance in the
18 performance assessment.

19 To say that a different way, if you took the
20 climate and you extended the climate out to its most
21 deleterious extreme, of its probably distribution function,
22 if you took it out to its 95th percentile, it doesn't really
23 drive the answer very much. So you could simplify it and
24 take a very high rainfall and it won't make a lot of
25 difference.

1 We ran a barrier analysis with net infiltration
2 into the mountain, and that's one of those unreal analyses
3 that we talked about yesterday, and that is the waste package
4 is there but let's pretend it rains right in the drift.
5 There is no deflection. It doesn't make a lot of difference
6 to the overall result. Why doesn't it? Well, the drip
7 shield and the waste package are very robust. And so that's
8 part of the strategy. So it's important that we understand
9 the performance of the waste package. Its uncertainties are
10 important.

11 With the drip shield present, the way--the
12 uncertainties of the waste package are not as important
13 because now you have two materials. You have two functions
14 that are happening. And so these seven items are where the
15 bulk of the performance really happens, and if we understand
16 their uncertainties and we understand their performance we
17 can get a fairly high confidence, because the rest of these
18 don't drive the answer nearly as much.

19 The example of principal factor on drip shield
20 performance--it's always hard to decide which end to work
21 from on these--what you see here is nominal case again. This
22 is preliminary analysis, deterministic, not probabilistic.
23 Nominal case, 100,000 years, no release. Take the drip
24 shield away and have the waste package sit in a drift at
25 nominal conditions, and you see--you start seeing almost a

1 micromillirem at the 30,000 year point. It says pretty
2 robust package.

3 Go back and neutralize the waste package only and
4 depend on the drip shield only, and what you see is that you
5 start getting releases, because the waste is laying naked in
6 the drift, if you will, and the drip shields start to fail.

7 And so without the drip shield you don't get nearly as good
8 a result. The two together, you get a very good result in
9 the nominal case.

10 And finally, if you neutralize both the drip shield
11 and the waste package you basically have removed the
12 engineered barriers. This particular analysis--before you
13 ask the question--does include clad. So your factor would
14 give you about 50--a factor of 50 higher on all three if you
15 neutralize the clad as well.

16 But it gives you--the picture that you're trying to
17 show is that these two together really provide a defense in
18 depth mechanism and reduce the necessary understanding of the
19 uncertainties on each, because they work with each other.

20 Now under expected conditions the waste package
21 lasts more than 100,000 years. If you want to believe the
22 numbers, it's time to go home. However, we need to look and
23 say "What about the waste package?" If we rely on a waste
24 package completely, then we have to understand it completely.

25 With the drip shield we have defense in depth. It's not as

1 important to understand those uncertainties as completely.

2 The drip shield design, by the way, appears to be
3 feasible; a number of corrosion resistant materials, it
4 appears to be testable in a scalable condition, and we
5 probably can do some prototype testing to show and continue
6 the corrosion mechanism type testing. So it looks feasible.

7 Seepage into the drifts, if you have this waste
8 package failure, if you have this drip shield failure, and
9 now you're getting moisture in, it becomes really important
10 to look at how much seepage is there. What are the
11 solubility limits? How much can you push into the water?
12 And then what dilution do you get as moves through the
13 saturated zone, the unsaturated zone?

14 We're looking at this with the engineered system
15 failed, and now we're going to be dependent on what's
16 happening on the transport mechanism. And so we're looking
17 into those because they're especially important in the event
18 of the engineered barrier failure. So we're not placing all
19 of our eggs into the engineered basket. We're looking at the
20 combination of natural features that also can provide
21 protection.

22 Again, under expected conditions, lasts 100,000, it
23 isn't particularly dependent on seepage to last that
24 100,000, as I said earlier. But once again if the engineered
25 system doesn't work as expected, what if, I believe Mr. North

1 put it yesterday, you look at your what-ifs and when you do
2 your what-ifs you start looking, and this drives us to these
3 particular factors.

4 Now what happens in the revision, revision 3 of the
5 RSS? The performance assessment, we'll put in what we have
6 to have, which is expected performance for the nominal case,
7 igneous activity, human intrusion, TSPA sensitivity and
8 importance analysis of some sort--we'll do lots of analyses;
9 we are not wedded to any particular type of sensitivity or
10 study; we're going to look to gain the knowledge; and we'll
11 go back and look at the principal factors for the SR.

12 Right now we have done a preliminary analysis with
13 the LADS design, we have looked at what we think is most
14 important; we are focusing there. We need to go back and
15 verify that in fact we are right and that we are focusing on
16 the right aspects, because the evaluation of the updated
17 models will give us more information.

18 We'll look at the safety margin in the defense in
19 depth. We believe we'll have substantial margin. We will
20 have considered additional design enhancements. We may look
21 at more changes to the thermal management strategy. We're
22 looking at backfill strategy. I believe Dr. Dyer said that--
23 told us to move forward without backfill, keep the ability to
24 do backfill but move forward without backfill.

25 We'll look at the drip shield design. It may

1 change its size and shape and material or thickness. And the
2 drip shield concept--maybe there's another drip shield that
3 we should be using; maybe a Richard's Barrier instead of the
4 metals; maybe ceramics. We'll consider those types of
5 things; no commitments, but we'll consider, look at how do we
6 make the system more robust.

7 And we will have looked at the benefits of the
8 seepage threshold and some aspects of the saturated zone
9 retardation. We will have looked at the potentially
10 disruptive processes and events, and it'll do as I said
11 before the unanticipated early failure of the EBS, igneous
12 activity, human intrusion.

13 We'll be looking at some other features, events and
14 processes that may in fact be screened out but deserve
15 review: water table rise has been discussed many times;
16 seismic activity; waste generated changes from the evolution
17 of the waste, including criticality; or the drift collapse.

18 Natural analogs, again we're going to take the
19 existing information and see what else will help us as we
20 close o n what we think the argument is we need to sustain,
21 then we'll look at what the additional work is that's needed.

22 And we'll be looking at the performance confirmation plan,
23 looking particularly at the principal factors, because once
24 again that's where the real performance and the real gains
25 lie. How do we show those principal factors behave as we

1 believe.

2 So the evolution in the event the site is
3 recommended, modification of the RSS would be considered.
4 How do we want to go forward with it. The update would
5 consider the results of the TSPA-SR, and perhaps we'd make
6 more simplifications for ease of the licensing process. So
7 again you go through the design selection, you make
8 decisions, the SR decision--we'll go through it again. We'll
9 look at the RSS, make sure that we've done it right and
10 whether there are some changes we should make in order to
11 move forward to the license application, if that is so said.

12 Concludes my remarks.

13 CRAIG: Okay, thank you--

14 BAILEY: I beat my time, sir. No hook today.

15 CRAIG: Wonderful, wonderful.

16 BAILEY: No hook today.

17 CRAIG: Questions from the Board?

18 BULLEN: Bullen, Board. Jack, first a compliment on
19 slide number 6. I want to thank you for actually answering
20 questions that we've asked before about the removal of the
21 barriers. I think that's a very good presentation.

22 I do have a couple of questions about the follow on
23 from that--if you go to slide number 10--and you talk about
24 the neutralization of barriers--

25 BAILEY: Yes.

1 BULLEN: --like the neutralization of the waste package
2 only. The implication here is that the drip shields, are
3 they leaking at 3,000 years? Or how do you get a release
4 from a neutralized waste package if the drip shield's still
5 intact, is the question.

6 BAILEY: The drip shield would have to corrode under the
7 nominal conditions at that point in time. In other words the
8 waste package has been neutralized and the waste is laying
9 bare in the drift.

10 BULLEN: Okay.

11 BAILEY: Okay, and if the waste package alone has been
12 neutralized, the drip shield is above it, and what you had to
13 have had is a failure of a drip shield to allow the seepage
14 to come through and contact the waste.

15 BULLEN: Okay. Thank you.

16 BAILEY: Did I get that one wrong, Abe?

17 VAN LUIK: This is Abe van Luik. You didn't get it
18 really wrong, but what happens is if there's a waste package
19 failure and the drip shield's still intact, there's a very
20 slow movement of radioactivity by diffusion.

21 BAILEY: Diffusion, okay.

22 VAN LUIK: Into the rock, and once it hits the rock then
23 it gets into the advective flow, and so what you see is
24 about--you know, a few thousand years of travel time through
25 the invert, et cetera, from a prefailed waste package. All

1 of these presume a prefailed waste package.

2 BULLEN: Bullen, Board. So the waste is just laying on
3 the bottom of the drift.

4 VAN LUIK: Oh, yeah--

5 BULLEN: And it has to diffuse for 3,000 years, and then
6 it's an advective flow. So it's not--so the drip shield
7 hasn't failed.

8 VAN LUIK: No--

9 BULLEN: You've basically got flow underneath it.

10 BAILEY: The drip shield fails about 8,000 years in the
11 nominal case--

12 VAN LUIK: Yes.

13 BAILEY: Okay, I--

14 BULLEN: Thank you.

15 BAILEY: --stand corrected.

16 CRAIG: Don Runnells, followed by Jerry Cohon.

17 RUNNELLS: Runnells, Board. Could we go to your slide
18 number 6 please?

19 BAILEY: Sure.

20 RUNNELLS: These are the mean values of the parameters.

21 Can you give us--and I know this is a hard question, so just
22 the best guess is okay--how wide would the confidence
23 intervals be on some of those lines? Let's say in addition
24 to the mean values you wanted to put a band of air, let's say
25 about the top line, no barriers--solubility limited release.

1 How broad would the 95 percent confidence interval be on
2 band of air about that mean line? Do you have any idea.

3 BAILEY: I'll have to turn to Abe for the specifics, I
4 think.

5 RUNNELLS: I think that's one of the things that
6 troubles people, is we see the lines and we don't know how
7 much confidence we should have in a line or how broad the
8 band should be. I guess I should really say how broad should
9 the band be?

10 BAILEY: Right, and I think--before--I think Abe will
11 help me--I think one of the things is that we were trying to
12 get an understanding of how the system works here, and that's
13 why I very lengthily said we did preliminary non-
14 deterministic evaluations to get a view of how this would
15 work and--in the average conditions. I don't know that we've
16 actually done the calcs in that particular case, and Abe's
17 more familiar with the TSPA than I am, so we'll let him
18 conjecture.

19 VAN LUIK: Abe Van Luik. We haven't done those
20 probabilistic calculations yet, but if the VA is any
21 indication, you will be a few orders of magnitude above and
22 below that mean value, to get between the 5th and the 95th
23 percentile.

24 But as I indicated yesterday, for the very long
25 times, that is the quantifiable uncertainty, and there are

1 other uncertainties. So this, you know, kind of reverts back
2 to yesterday. We need a fuller discussion of uncertainty
3 rather than the calculational band of those things that we
4 know are uncertain.

5 RUNNELLS: Thank you.

6 CRAIG: Jerry.

7 COHON: Cohon, Board. I have a question about principal
8 factors, and this diagram motivates it. The natural barriers
9 are shown to give a several orders of magnitude decrease in
10 dose, but among the principal factors are seepage--well, let
11 me just pose it direct.

12 Looking at the principal factors, is it fair to
13 conclude from this slide and what you didn't include as
14 principal factors, that the primary actors in the natural
15 system are the ability of the radioactive material to
16 dissolve, the solubility?

17 BAILEY: That's correct.

18 COHON: And also the saturated zone retardation?

19 BAILEY: Yes, and those are basically properties of the
20 material of the mountain, which we know very well.

21 COHON: And as you said, it can rain directly on the
22 packages and you would still come to a similar conclusion?

23 BAILEY: Yes.

24 COHON: Another question on principal factors, and this
25 goes to the linkages among the factors, which is unavoidable

1 and I understand it.

2 BAILEY: Yes.

3 COHON: The principal factors can't be perfect because
4 the hip bone is connected to the knee bone? Somewhere.

5 BAILEY: No on me.

6 COHON: Yeah, you got there.

7 BAILEY: I'm a little taller than that.

8 COHON: Well you're a systems engineer, so you know that
9 stuff. The performance of waste package barriers is a
10 principal factor, but the coupled processes are not principal
11 factors. Yet I would assume that a key driver of performance
12 of waste package barriers is the environment, the near field
13 environment, which of course is linked to the coupled
14 processes.

15 Now I've made an assumption. Is that correct?

16 BAILEY: Yes, it is.

17 COHON: Okay. So when you identify a principal factor
18 though, like performance of waste package barriers, but you
19 don't identify say coupled processes, still you're picking
20 them up because of their linkage to the principal factor?

21 BAILEY: Yes.

22 COHON: Okay.

23 BAILEY: Now the reason I say yes, remember what I said
24 earlier on that slide--if you go to the principal factors
25 slide--

1 COHON: It's 9.

2 BAILEY: Next slide.

3 COHON: No, number 9.

4 BAILEY: Number 9 please. Remember what I said, and
5 that is if you drive those other factors very high in their
6 uncertainty range, it doesn't make a lot of difference.

7 So even though the environment on that waste
8 package is very important, if we can show that the bounding,
9 if you will, environment on that waste package does not
10 deleteriously affect or create real problems for us and the
11 waste package barriers, then our effort is to show that we
12 can bound that environment and those coupled processes and
13 drive it, rather than try and understand the purity of
14 everything that happens there.

15 COHON: Well--

16 BAILEY: It is connected, but--

17 COHON: Yeah. Okay--

18 BAILEY: --and it's easier to show the simplified
19 approach that it is to understand everything about it and
20 show that it's so.

21 COHON: So--you just said something important, and I
22 want to make sure I understand it. Is it fair to conclude
23 that if a factor is not a principal factor that you've driven
24 it to its extreme value and it still has not shown itself to
25 be important?

1 BAILEY: Yes. That was one of the bases that we looked
2 at this on, was if we--one of things that we did is we varied
3 these and said if you move it from--you know, have a PDF and
4 if you move it from here to there, from end to end, what does
5 it--individually perhaps--do to the overall response. And we
6 found very little response in the bulk of this. These made a
7 big difference.

8 COHON: Do you have a concise summary of all the extreme
9 values that you tested for each of these factors?

10 BAILEY: I doubt it. It isn't in the RSS. We could
11 provide it.

12 COHON: That would be very interesting.

13 BAILEY: Abe?

14 VAN LUIK: If I can--Abe Van Luik--keep in mind that
15 this particular product was created with the stylized
16 calculations to give us insights. But it was really driven
17 by the expert elicitation of the PA people and the scientists
18 in the project.

19 We are beginning the cycle over again. It is as an
20 iterative thing. In a couple of months we will have the
21 first of these workshops to start, you know, have we learned
22 anything that is going to drive us. And the informal
23 feedback we're getting already is "Oh, yeah, the near field
24 environment may be more important than we thought."

25 I think we were mesmerized last year and perhaps

1 rightly so, except now the uncertainties are beginning to
2 creep in, that we had selected materials that were immune to
3 anything you could think of in the coupled process area; and
4 now the change that we expect, and we will have to go through
5 the process and see, is that we may have thought more about
6 it and said well it may be more important than we thought
7 this last time. So you're seeing a living product here, and
8 I think your input is very welcome.

9 BAILEY: Let me make sure I'm not misleading you, and
10 that is, is that we did do a lot of these--as I said before--
11 in large rooms, "What do you think? You're the guy. What do
12 you know?" We captured a lot of it like that without
13 necessarily explicit calculations. I think we can capture
14 what we asked and what the answers were.

15 And if you recall on the last slide--Lisa--oh,
16 well--we have to go back and look at it again. We have to go
17 back and make sure we made the right decisions and that the
18 choices we made were in fact correct. And we know that.
19 That's one of the things we have to do in order to move
20 forward with site recommendation.

21 COHON: I in fact have one last question on this slide.

22 BAILEY: Okay.

23 COHON: There's no arrow coming out of LA, and I wonder
24 if there will be?

25 BAILEY: Oh, yes. There was no--if you go back--

1 COHON: Yes, I--information--

2 BAILEY: --no arrow coming out of SR before--

3 COHON: I remember that.

4 BAILEY: If we put up the other screen you'll find that
5 you have to keep doing this--

6 COHON: Okay.

7 BAILEY: --it's a part of the communication process,
8 it's part of the have we gotten it right process, part of the
9 we learned something new--does it affect our results. We
10 talked yesterday about does science stop. No. We have to
11 keep looking and knowing and we have to keep moving. And I
12 just moved one more step from--used to have the VA there;
13 we've now moved on--

14 COHON: Thank you.

15 BAILEY: If we all live long enough we'll have 10 or 20
16 of them.

17 COHON: Okay. Thank you.

18 CRAIG: Our sequence now goes to Alberto Sagüés,
19 followed by Priscilla Nelson, followed by Daniele. Alberto
20 Sagüés.

21 SAGÜÉS: Thank you. Could we look again at the number
22 10 please?

23 BAILEY: Number 10 please.

24 SAGÜÉS: Great. Do I understand correctly that the
25 cladding credit is being taken for those estimates?

1 BAILEY: Yes, cladding credit was included in the
2 calculations because that's the model that we had available.

3 SAGÜÉS: Right, and if you wouldn't have cladding, that
4 would have increased those currents dramatically, or not?

5 BAILEY: At most a factor of about 50.

6 SAGÜÉS: About a factor of 50.

7 BAILEY: Yes.

8 SAGÜÉS: All right, then is it fair to say that without
9 the metallic barriers, that is the drip shield, the waste
10 package, and the cladding, the repository just plain wouldn't
11 work? Is that correct?

12 BAILEY: I because there's a slide--

13 SAGÜÉS: --fair--fair way to say--

14 BAILEY: I wouldn't say it that way. If you'll go back
15 I think two or three more slides to the--keep going--here--
16 this slide answers the question of what is the performance of
17 each of the pieces, given unreal conditions. There in fact
18 is clad, there in fact will be barriers; there will be some
19 credit given to those. But this gives you, without a
20 probabilistic evaluation, mean values, tells you that this is
21 what's out there in unreal situations, situations that don't
22 occur.

23 SAGÜÉS: Right, but that protects at 8000 years, 100
24 rem.

25 BAILEY: I think that's what the number comes to.

1 SAGÜÉS: Yeah, so I mean that certainly wouldn't be
2 appropriate performance.

3 BAILEY: That's correct.

4 SAGÜÉS: Okay, so--

5 BAILEY: --four--grinding up the waste and throwing it
6 in the bottom of the drift, which is not--

7 SAGÜÉS: Right.

8 BAILEY: --the approach.

9 SAGÜÉS: Right, so what I'm saying is that the present
10 concept relies I would say completely on the adequate
11 performance of the metallic barriers. Without those we would
12 have release rates that would be just totally unacceptable.

13 BAILEY: Let me make a couple of comments. If you'll
14 jump to the next slide, please Lisa, I think a couple of
15 things: one, the system--and it is a system that's intended
16 to how do we make the whole system perform; the second is--
17 and I mentioned it earlier--we leave a lot on the table.

18 And that is, is that because we have some of the
19 metals and because we have the ability to analyze the metals
20 and have a great homogeneity in the metals, we don't go after
21 some of the conservatisms that are probably available to us.

22 For example, secondary mineralization. That has the
23 potential of holding up a great deal of the radionuclides
24 inside the matrix as the matrix corrodes, if you will.

25 So we have a number of areas where we have not

1 pursued additional realistic approaches in the natural
2 system, partially because of heterogeneity, partially because
3 of the difficulty in licensing. Secondary mineralization,
4 for example, in a licensing sense, is a very difficult piece.

5 You've got to look at the inside of a canister with 21 or 54
6 elements, it's got a whole series of materials; becomes very
7 difficult to prove or gain reasonable assurance that you know
8 exactly what's going to happen. In fact, is it there? Yes.

9 And so yeah, if all you're going to do is grind it
10 up and throw it in there, yeah, you have a fairly sizable
11 dose. On the other hand, if you work with a system and you
12 take advantage of each of those systems and look at the fact
13 that you have conservatisms that you've built into the
14 system, then I don't think that you can judge the site on
15 that chart. That's a very simplified chart.

16 SAGÜÉS: Okay, but you would agree that the metal
17 barriers are a substantial and all important--

18 BAILEY: I think--

19 SAGÜÉS: --element--

20 BAILEY: I think that we have analyzed--

21 SAGÜÉS: --projected performance--

22 BAILEY: I'll try again. I think that we have analyzed
23 and found and depended and made decisions that we are
24 depending on the metal barriers to a great extent. We could
25 in fact depend more on some of the natural systems that we

1 are not currently trying to model in a more realistic manner.

2 SAGÜÉS: Um-hum, okay--

3 BAILEY: So there's a tradeoff here.

4 SAGÜÉS: All right. All right, I'm saying this because
5 of the following: the projections of the performance of the
6 natural barriers can be sort of backed up by a number of
7 geologic analogs, and extensive, very long term experience in
8 dealing with geological assistance.

9 BAILEY: Yes.

10 SAGÜÉS: So the likelihood that some of the things which
11 are projected will have a dramatic turn of events, unexpected
12 in the next several thousand years is there, but at least it
13 can be assisting in terms of prior experience with analog
14 systems.

15 BAILEY: Yes.

16 SAGÜÉS: Now the problem that I have always encountered
17 with this is that when you look at the metals, we are dealing
18 with new materials, materials that have a very short lens of
19 engineering experience. And we are basically betting the
20 performance of the system on the long term performance of
21 these effectively new materials.

22 And shouldn't there be in these realizations or in
23 these calculations some evaluation of what is the likelihood
24 of this--that these materials will not perform as expected?
25 Shouldn't that be something that should be also

1 quantitatively introduced in some fashion, because right now
2 it isn't introduced in that way, right? We are just looking
3 at for example the slow rate of dissolution expected for
4 these materials, and we are using linear extrapolation.

5 But there isn't at this moment any input for what
6 will happen if something happens with the corrosion rates say
7 in the year 3000, and they're accelerated by one or two
8 orders of magnitude? Is that correct, there isn't such a
9 provision?

10 BAILEY: Well the calculations that you see here came
11 from the viability assessment. They are preliminary. We put
12 some quick calculations for the alloy 22. These calculations
13 for example didn't consider stress corrosion cracking, and
14 stress corrosion cracking is one of those failure mechanisms
15 that could happen--forget about the corrosion rate, just the
16 stress corrosion cracking.

17 And we recognize that as a failure--and we needed
18 to find a way, if you will, to engineer it out or lessen its
19 dependence or put a model in that takes into account that
20 that occurs. And so we are in fact trying to look at the
21 fragility, if you will, the frailness of the engineered
22 barriers.

23 We are in fact doing the barrier analysis
24 neutralization. We are looking at materials that have
25 different failure mechanisms so that we don't have the drip

1 shield jump by an order of magnitude, as you suggested, which
2 I don't know--

3 CRAIG: Jack, I need--

4 BAILEY: --likely.

5 CRAIG: --we need to break in because we're running out
6 of time--

7 BAILEY: Okay.

8 CRAIG: --and we have two other Board--two other
9 questions, which need to be fast.

10 NELSON: Nelson, Board. This isn't so much a question
11 as a please correct me if I'm wrong. Every time I've seen
12 the principal factors plot, and the identification of the
13 seven selected ones--and in particular in the context of the
14 comment you made regarding climate--I raise an issue which
15 doesn't make--I think really stops a lot of people from
16 understanding the conclusion you want them to draw.

17 I think most people would think climate was a very
18 important thing and that without an increase in rainfall of
19 some significance you're not going to get the change in
20 seepage that's going to change the processes that happen in
21 the near field environment.

22 And while the kinds--the order of magnitude that
23 the scale of change that occurs in the seepage into
24 emplacement drift factor probably is the one that's really
25 directly pertinent to the calculations that are involved in

1 the PA. They clearly are very importantly driven by the
2 climate. And so I just caution that statements about climate
3 not being important really deter comprehension and
4 understanding of the model.

5 CRAIG: So we will take that as a--

6 COHON: The hip bone is connected to the knee bone.

7 CRAIG: --comment, and move to Professor Veneziano.

8 VENEZIANO: Daniele Veneziano. I want to make a remark
9 regarding the assessment of uncertainties, and I hope I'm
10 quoting you correctly when you say that you are using models
11 that range from realistic to conservative, I believe you say,
12 so that you can be confident on the mean value.

13 Now it seems to me that when you assess uncertainty
14 you should not do so either conservatively or
15 unconservatively. You should do it in an as unbiased way as
16 you possibly can, and then articulate the reasons for
17 conservatism, and introduce the conservatism at the stage of
18 decision making rather than at the stage of assessing
19 uncertainties, probabilities and mean values, or else that
20 has the possibility of muddying the waters in a way, not
21 making sort of that decision about the degree of conservatism
22 in explicit and -- one as I believe it should be.

23 So unless I have misunderstood, I want to just make
24 that comment regarding what I believe is the imperfect way to
25 assess uncertainties, and then make decisions in an

1 appropriately conservative way.

2 BAILEY: I would agree with what you said. We in fact
3 ran into that problem in viability assessment where our
4 assumptions on clad masked some of our results and masked
5 some of our sensitivities. And we're trying to stay away
6 from that here in fact by going back and doing barrier
7 analysis and extending sensitivities and taking a look. But
8 if we have conservative results, we have to have some gain in
9 confidence by the fact that we have some that we've modeled
10 conservatively.

11 CRAIG: Okay, thank you very much.

12 VENEZIANO: Oh, just a very quick comment. I agree in
13 being conservative when you make sensitivity analysis, but
14 not when you assess uncertainty. Probably that's what you do
15 anyway.

16 CRAIG: Thank you, Jack.

17 BAILEY: You bet.

18 CRAIG: We now turn to Bo Bodvarsson.

19 BULLEN: Bullen, Board, and I'm sorry for coming back in
20 late date, Jack, but you made a comment to Dr. Sagüés that
21 basically you--this was based on the viability assessment for
22 most of the analyses you did?

23 BAILEY: There was a viability assessment and we
24 modified certain of the calculations--

25 BULLEN: Modification--

1 BAILEY: --accommodate--

2 BULLEN: --okay, modification included the incorporation
3 of coupled processes?

4 BAILEY: I don't believe that--no.

5 BULLEN: Okay, so then I run into a real problem here
6 because you're reducing the uncertainty--or with a new
7 design--but if you don't have the coupled processes included,
8 I guess the question would a cooler design reduce your
9 uncertainties even more?

10 BAILEY: Well we moved in fact to a cooler design in
11 order to deal with those uncertainties associated with
12 heating the whole block and where does the water go, and
13 those kinds of problems. Now does taking it all the way down
14 to no boiling reduce it beyond a point that we need to be? I
15 think that's something that we have to look at, and I think
16 Abe will comment on it.

17 BULLEN: So as I look at--before you come in, Abe--this
18 is Bullen, Board, again--so as I look at your principal
19 factors listed and you say coupled processes effects on the
20 unsaturated zone flow, you're talking mountain scale
21 unsaturated zone flow, not drift scale unsaturated zone flow?

22 BAILEY: I think you have to talk both.

23 BULLEN: But you don't model--

24 COHON: --not capable of talking both.

25 BAILEY: Abe, did you want to jump in?

1 VAN LUIK: For one second. Abe Van Luik. I think an
2 important point in looking at the RSS is these calculations
3 gave us some insights, but in the discussions and the expert
4 elicitation part of it, informal expert elicitation, all
5 these issues were brought up; and that's why some things were
6 broadened.

7 And that's why we expect that now that we have this
8 under our belts and we have critiqued it ourselves, the next
9 time around you will probably see a slightly different
10 variation on a theme. But, you know, I think we are too
11 focused on these analyses. They--we discussed their
12 limitations ad nauseam at our meetings.

13 COHON: But why are you still using VA based
14 calculations? You're starting to write the SR right now.

15 VAN LUIK: This is Van Luik again. We are not still
16 using them. We used them to create this product and this
17 work was done almost a year ago.

18 BAILEY: Yeah, last July.

19 CRAIG: I'm going to jump in here and stop this. This
20 is a wonderful--a wonderful and exceedingly important
21 subject, which I expect will get discussed a lot over coffee
22 break and elsewhere.

23 I'm particularly pleased to introduce Bo Bodvarsson
24 because Bo has taken on the task with his group of helping to
25 get me educated on how the Vadose Zone works. There's a

1 little idea that I want to write a little dummy's guide to
2 the Vadose Zone, which is exceedingly important, and I simply
3 don't understand it very well. But Bo and his team
4 understand it very well, and together will get me where I
5 want to be. So I'm very, very happy with his little project
6 and your support for it.

7 In any event, Bo Bodvarsson is the Lawrence
8 Berkeley National Laboratory lead for the Yucca Mountain
9 Project and nuclear waste program leader for the Earth
10 Sciences Division at LBNL. His research specializes on
11 geothermal reservoir engineering and nuclear waste disposal.
12 Today he'll discuss seepage, which is one of the principal
13 factors identified in the previous presentation.

14 You're scheduled for 25 minutes. I'll give you
15 warning a little before the 25 minute time period has ended.

16 BODVARSSON: Thank you, Paul. Can everybody hear me
17 okay? Is that better? Okay.

18 My name is Bo Bodvarsson, Lawrence Berkeley Lab.
19 I'm here to talk about seepage studies a little bit, and the
20 main thing I want to talk about--this number 1--why is
21 seepage a principal factor; number 2, what experiments and
22 tests have been done to evaluate seepage; number 3, what
23 modeling have we done to analyze the data we obtained for
24 seepage; and number 4, where are we heading, what additional
25 data do we plan to take for SR and for LA.

1 So seepage, as all of you know, determines the
2 amount of water that enters emplacement drifts. So we must
3 do seepage calculation in order to know how much of the water
4 is diverted around the drifts and how much seeps into the
5 drifts. Now under expected conditions with a very robust
6 waste package that lasts 100,000 years, seepage is not really
7 very important if all of the packages would last 100,000
8 years.

9 However, there may be some unanticipated early
10 failures and if that's the case the amount of water that
11 enters the drifts becomes very, very important because it
12 dissolves the waste and it carries the waste out of the
13 drifts into the unsaturated zone and down to the saturated
14 zone. So seepage becomes very important. Current
15 information doesn't really preclude significant releases for
16 early failure of waste packages. Next one please.

17 Now I'm going to start by talking a little bit
18 about the drift seepage peer review just completed a few
19 months ago. The peer review team did a very good job in
20 looking at all aspects of seepage, including the testing
21 program and the modeling program; and there's nothing really
22 we disagree with what they concluded.

23 They concluded that there are currently large
24 uncertainties in seepage estimates, and that's simply because
25 we just started testing for seepage a couple of years ago;

1 and we all realize that this is the case. More site data,
2 modeling, experimental work are needed and the Department
3 realizes that. There are plans to collect more information
4 as I'll tell you a little bit later.

5 But what we have seen so far is that the drifts act
6 as a very effective capillary barrier that prevents seepage
7 to occur. Water does not want to go into big openings
8 because it wants to stay where capillary suction keeps in
9 place; so water really wants to go around the drifts. We
10 have seen it both from the data and from models that I'll
11 show you a little bit later.

12 The TSPA-VA uncertainty analyses concluded that
13 seepage fraction is extremely important for peak dosage, and
14 that for both 100,000, 10,000 and a million years it's a very
15 important factor. Next slide please.

16 Now one of the issues that the Board brought up was
17 what about tunnel stability, what happens when rock fall
18 occurs and we don't have this perfectly shaped drift anymore?

19 Our current studies are addressing that. The EPA, the
20 engineered barrier systems people developed analysis of
21 likely rock fall, likely changes in the shape of the tunnels.

22 We used this information directly with our
23 calibrated seepage model and evaluated based on their results
24 what they had concluded most likely was not significant for
25 seepage; that the rock fall will not be so much that it would

1 significantly affect seepage. However, if there are massive
2 changes in the drift which are not anticipated, of course
3 seepage would increase.

4 The project is planning to couple those mechanical
5 estimates of drift shapes as a function of time of course
6 with our seepage calculations. Next slide please.

7 Now let's look a little bit at the testing program.
8 Is this focused? Doesn't look real good. Look all right to
9 you guys? Okay.

10 SPEAKER: Looks like New Jersey.

11 BODVARSSON: Huh?

12 SPEAKER: Looks like New Jersey?

13 BODVARSSON: New Jersey? Yeah. Looks kind of like--I
14 see. The testing program on seepage has occurred in two
15 areas basically. One is the niches, and we have done testing
16 in niche 3 and niche 2 and niche 4 which are located here in
17 the ESF. All of those tests have been in the middle non-
18 lithophysal, which has not been named repository rock. Keep
19 that in mind.

20 We are also doing tests in alcove 1 where we put
21 water on the surface and we observed the seepage into that
22 alcove. And I'll show you a little bit about that. Next
23 slide please.

24 What have we collected so far? We have collected
25 seepage data from controlled liquid release tests in three

1 niches in the middle non-lithophysal unit. And I'll show you
2 those tests. We have done air permeability tests on those
3 niches. We've also done air permeability tests in the lower
4 lithophysal tuffs, which is very, very important, because
5 these are the first tests that could indicate potential
6 seepage in the lower lithophysal rocks, which are the main
7 repository rocks. And I'll show you those a little bit
8 later.

9 We have done the alcove 1 large scale tracer test
10 and we are continuing that, USGS and Alan Flint's team is
11 continuing this work; and then we have also observed
12 construction water monitoring below the cross drift. When
13 the cross drift went over the ESF, lot of construction water
14 was lost. How much did seep, and I'll talk a little bit
15 about that. Next slide please.

16 First the wall: drift seepage test. What do we do
17 and why do we do it this way? Basically what we do, we put
18 water directly above the niches, very close to the niches, so
19 these are very conservative tests. Only two feet to three
20 feet above the niches we put water in pack intervals, and we
21 try to force it to go into the drifts.

22 And then we measure and collect the water here and
23 we measure the fraction that goes into the drift versus the
24 fraction that is either in storage or goes around the drift.
25 That is percentage seepage as a function of percolation flux.

1 This is what TSPA needs for their evaluation of seepage.
2 We have done a bunch of these test in the middle non-
3 lithophysal. All of these tests are analyzed with models.
4 Next slide please.

5 The tests in the middle non-lithophysal are
6 analyzed with seepage model and calibrated against all the
7 data. The model, if we observe 15 percent seepage, the model
8 has to agree with it; it has to show 15 percent seepage. The
9 models we generate have a lot of fracture patterns in them.
10 They're measured in the tunnels, the preferred orientation;
11 they are then calibrated to the air permeability tests in the
12 bore holes; and then we apply liquid water, just like the
13 test was done, and we calibrate it to the seepage.

14 Based on that then, on the calibrated model, we do
15 Monte Carlo simulations to determine what we call the seepage
16 threshold. And it turns out--this is not really the right
17 slide--it turns out the seepage threshold is about 200
18 millimeters per year for a middle non-lithophysal unit. Next
19 slide please.

20 Alcove 1 is a very important test for us also. Why
21 is that? It's because it's at the different scale. It's now
22 we don't force water a few feet above the niches and force it
23 to seep. We are working with about 15, 20 meters down to the
24 alcove; we have an infiltration pack here, and we have a
25 collection system in place here in Alcove 1.

1 There have been two tests done so far. One was
2 completed last year, and the other one is continuing now.
3 What is important about these tests? Number 1 is we apply
4 lots, lots of water, and even if we apply lots, lots of water
5 only 10, 20 percent of the water seeps. Not very much. Much
6 higher than percolation flux you would ever see, including
7 climate changes.

8 The other thing extremely important too is the
9 issue about matrix diffusion which we rely on in the
10 unsaturated zone for transport. When the radionuclides leave
11 the drift and they flow in fractures from the repository to
12 the water table, there is interaction between the fractures
13 and the matrix blocks. One of these interactions is due to
14 diffusion because there are concentration differences in
15 radionuclides in the fracture in the matrix block.

16 Diffusion is extremely important for performance.
17 What this test showed us, that with applying this
18 infiltration about 50 percent of the fractures encountered
19 from the surface to the alcove were flowing at this time, and
20 matrix diffusion was very efficient in retarding the movement
21 of the tracers we used. Next slide please.

22 Now let's go on the ECRB. What are we planning to
23 do in ECRB and what have we done so far? And as all of you
24 know, the east-west cross drift is here, it goes through the
25 repository block, so this is a very, very important piece of

1 real estate that we must test very thoroughly to gain
2 confidence in seepage as well as other results. And of
3 course this is very important because here is the chance for
4 us to measure seepage and other parameters in the main
5 repository rocks, the lower lithophysal. Next slide please.

6 What are we doing and what are we planning to do?
7 First of all the project has sealed off part of the east-west
8 cross drift, which was done in June 1999, just simply to
9 observe will any seeps develop. This has been ongoing since
10 June 1999. Secondly we started niche studies. Niche 5 has
11 been--studies have been started on niche 5 to evaluate
12 seepage threshold in the lower lithophysal rocks.

13 We have completed already a set of air permeability
14 tests, which I will show you, and we are planning to do the
15 seepage in March this year and May this year to feed our
16 seepage calibration model and then TSPA for Rev. 1. This
17 will feed the AMRs and the PMRs for Rev. 1. Next slide
18 please.

19 NELSON: Bo, can you tell us where nice 5 is?

20 BODVARSSON: Absolutely. Can you go back two slides?
21 Niche 5 is located about around here. It's just you go into
22 lower lithophysal and just few hundred meters or so, that's
23 where we selected niche 5. We selected it in a very heavy
24 lithophysal area, very broken rock. So the test for seepage
25 should be fairly conservative, because when you look at that

1 rock it is heavily broken and fractured, with big lithophysal
2 cavities. Next slide please.

3 We are also--the project also decided to do
4 something very important for uncertainty, and that is a
5 systematic evaluation of A, hydrological properties such as
6 air permeabilities and tracer tests, and B, seepage tests.
7 This systematic hydrological characterization will go along
8 the cross drift and there will be bore holes drilled above
9 the ceiling, and we will do air permeability tests and
10 seepage tests in a bunch of bore holes along the cross drift.

11 This should give us a very good handle about the variability
12 of seepage with space, because the niches are only located in
13 a very, very few locations, of course.

14 Also a very important test is the cross drift
15 tracer test, and that is a test between the ESF and the cross
16 drift where we apply water in the cross drift and we try to
17 observe it in niche 3 in the ESF. So that's a very important
18 test, because again that's a scale of 10 submeters again, not
19 like the niches, a scale of meters.

20 So I'm going to show you a little bit about these
21 tests, and you can ask any questions you like. Next one
22 please. Here is niche 5, cross drift niche. This is how
23 it's designed; there's a bunch of bore holes coming out here.
24 One part of this--purpose of this is to look at actually
25 excavation effect, look at changes in permeability away from

1 the niche; but the main purpose of this is of course to
2 measure seepage.

3 It's located in the lower lithophysal zone and pre-
4 excavation interjection tests suggest that this rock has
5 higher permeability in the middle non-lithophysal. This is a
6 very important conclusion, as I'll show you a little bit
7 later. It was excavated -- seepage tests are planned in the
8 year 2000. Next slide please.

9 These are very new results. This comes from two
10 bore holes in niche 5. This is the first air permeability
11 test in the east-west cross drift from the lower lithophysal
12 rocks. Remember this comes from one location, two bore
13 holes; so it's very limited data. But what it shows is very
14 important.

15 It shows that the two bore holes have similar
16 permeabilities, average permeabilities is about three darcies
17 here--three times 10^{-12} , one darcy is one times
18 10^{-12} --but what is most important is that this
19 is about an order of magnitude higher than all of the niches
20 we measured in the middle non-lithophysal.

21 Now what does this mean? In general seepage
22 decreases with increasing permeabilities. This may sound
23 counterintuitive, but the reason is simply the higher the
24 permeability of the fractured rocks around the niche, the
25 easier it is for the water to go around the nice. So that's

1 good news. So this is very important information and
2 hopefully the seepage data that we will get in March and May
3 will verify that the seepage characteristics are better than
4 those we have estimated in the middle non-lithophysal.

5 However, there's one thing we always must keep in
6 mind, and that is the lower lithophysal rocks have something
7 very different from the middle non-lithophysal, and that is
8 the large cavities, the large holes--up to one foot in
9 diameter or so--and how they affect seepage and other
10 characteristics of this rock. We don't know at this time.
11 Next slide please.

12 This is the crossover drift test where we go from
13 alcove 8, which is shown here, down to niche 3 here in the
14 ESF. We are planning--the Survey is the main participant
15 doing this work. They are planning to put water in here and
16 see how much seeps into the niche down here. Again, very
17 important, because of the scale effects, tens of meters now
18 instead of meters.

19 So what is most important here is this bullet here,
20 and that is during the construction of the east-wets cross
21 drift, even though lots of water was lost, no seepage was
22 observed in the ESF. Very important. Next slide please.

23 Also just--go back to the last slide--just to
24 remind you, another very important part of this test again is
25 matrix diffusion, to verify what we have learned in alcove 1

1 and Tiva Canyon, carry it down to the Topopah Springs unit,
2 and verify that matrix diffusion is again important in that
3 unit. Next slide please.

4 So I've told you all the data we have; I've told
5 you about the modeling studies that support the data; I told
6 you about what we plan to do, and now I'm going to reiterate
7 it and tell you what we get out of all of these planned
8 tests--and we are almost done.

9 First of all the lower lithophysal seepage testing
10 in niche 5, this is the goal for site recommendation, are
11 essential to give us some information about seepage in the
12 lower lithophysal rocks, which is the main repository rock
13 unit, of course.

14 The studies in niche 5 also give us the effects of
15 excavation or hydrological properties. How far from the
16 niche does the permeability increase? And as you recall from
17 our studies in the middle non-lithophysal, permeability
18 increased by almost a couple of orders of magnitude close to
19 the niches due to excavation effects. This is very
20 important.

21 The systematic testing in the east-west cross drift
22 will give us the variability in seepage, in air
23 permeabilities, in fracture porosities, along the east west
24 cross drift. Very important for uncertainty analysis to
25 understand the heterogeneity of the rocks.

1 The data on flow and seepage testing between the
2 cross drift and the ESF niche will allow us to quantify
3 seepage on a larger scale, and allow us to calibrate our
4 models not only on a meter scale, but up to 10 meter scales,
5 to gain more confidence, of course, in predicting seepage
6 into emplacement drifts.

7 The results of flow and seepage testing from alcove
8 1 we will continue to analyze, and all of these data will go
9 into one single calibrated seepage model that should apply on
10 multiple scales. Next slide please.

11 This is the last slide. What are planning to do
12 for license application? First of all let's go back to the
13 comments of the peer reviews, some overseeing groups,
14 including yourselves, that has all been taken into account in
15 what we hope to accomplish for license application.

16 The most important part is this one here, and the
17 seepage peer review as well as some of you have mentioned the
18 need for this, and that is a longer term larger scale seepage
19 test. That does several things for us. Number 1, it will
20 allow us to tell where the water actually goes. When we do
21 this niche test we say 15 percent seeps, but we don't know
22 where the rest of it goes. We have to verify that the rest
23 of the water actually flows around the drift like the models
24 predict it will. So we have to do long term tests to do
25 that.

1 We also have to evaluate the effects of evaporation
2 close to the drift surface. That affects seepage tests. And
3 this test is aimed to do that. Also what we hope to do,
4 given the systematic variability and seepage study that we
5 are doing in the east-west cross drift, is to do very
6 systematic sensitivity studies to evaluate uncertainty of the
7 seepage estimate, given they heterogeneity of the rocks.

8 We also--the project has planned a thermal seepage
9 test in the cross drift that is going to be planned later
10 this year, I think, and started to be carried out perhaps
11 next year.

12 Finally there--we may start to look at percolation
13 determination below the crest where the infiltration models
14 have shown that there's highest infiltration and also close
15 to the Solitario Canyon. And that concludes my talk.

16 Was I on time, Paul?

17 CRAIG: Thank you, Bo, you're ahead of schedule.
18 Wonderful. Wonderful. That gives us time for discussion.
19 Priscilla, Richard, Dan.

20 NELSON: Nelson, Board. Bo, thanks for the new
21 information; appreciate it. I'd like to ask you a question
22 about your comments regarding for example construction water.

23 BODVARSSON: Yeah.

24 NELSON: We had heard in the past that construction
25 water has been lost to the formations, and some observations

1 were made about different depths of penetration.

2 BODVARSSON: Yeah.

3 NELSON: I guess your comment about it being very
4 important that there was no seepage, I was given to
5 understand that the volume of water that was actually lost
6 per distance, certainly over the ESF, would not have been
7 such that people were actually expecting seepage.

8 So the question becomes, did--in your models for
9 seepage in the non-lith and the lith units, would you have
10 expected seepage?

11 BODVARSSON: That's a very good question. Actually the
12 answer is we have not done the calculation with the amount of
13 water that was actually lost during this episode to see if
14 the models predicted it. But we should do that--that's a
15 very good comment. Appreciate that. We should definitely do
16 that.

17 PARIZEK: Parizek, Board. Bo, on slide 17 you talked
18 about the long term seepage test for flow diversion.

19 BODVARSSON: Yeah.

20 PARIZEK: Where would that be done, or how would you--
21 would it be done at sites where you already have
22 instrumentation set up?

23 BODVARSSON: It definitely could be. There is not a
24 plan in place yet exactly where it will be done. What I
25 think is the most important part of that test is that we

1 would have to do instrumentation and bore hole around it
2 laterally to catch whatever water goes around, doing neutron
3 probes, or doing whatever is going to allow us to quantify
4 it. So that instead of just simply putting three bore holes
5 above we would do a lot more counter instrumentation around
6 the niche. But we haven't decided exactly, but I am sure--or
7 at least in my mind--it should be in the lower lithophysal
8 rocks.

9 PARIZEK: A follow up question then, the thermal
10 seepage test, that's a new idea, I guess? I mean at least we
11 haven't heard about that. Do you have a little more
12 background as to what that test would include?

13 BODVARSSON: Well that test has been on the books for
14 probably a year or two years, I would say. It hasn't been
15 totally designed yet--at least that's my understanding. But
16 it will be designed this year. They are trying to get some
17 funding to design it this year. I don't know if funding has
18 been approved for that yet. Do you know, Abe? Mark Peters,
19 do you know?

20 PETERS: I'm sorry?

21 BODVARSSON: Why don't you ever listen to me, Mark?

22 PETERS: (inaudible)

23 BODVARSSON: No. I'm kidding you. The thermal test, I
24 know we were trying to get it funded, the design of the
25 thermal test in the cross drift?

1 PETERS: Yes.

2 BODVARSSON: Did that go through on one of the change
3 requests?

4 PETERS: Yeah, Mark Peters, M&O. We have funding to
5 start the planning--

6 BODVARSSON: This year?

7 PETERS: This year. And the current plan would be to
8 field it next year.

9 BODVARSSON: See, I'm listening to you.

10 PARIZEK: One more question, Bo. This has to do with
11 the large lithophysal cavities--

12 BODVARSSON: Yeah.

13 PARIZEK: --you're worried about, and you're not sure
14 how they're going to interfere--

15 BODVARSSON: No.

16 PARIZEK: --with the flow patterns. But since they're
17 cavities and they're smaller cavities than the--a drift--

18 BODVARSSON: Yes.

19 PARIZEK: --why would they not be barriers to water
20 flow, just like you hope that the drift is?

21 BODVARSSON: Yeah, that's one possibility. But the
22 other possibility is that when you start to introduce those
23 kind of heterogeneities that water also wants to avoid, is
24 the focusing effect.

25 PARIZEK: Okay, so here comes the analog question: do

1 any of those lithophysal cavities contain young mineral
2 matter--

3 BODVARSSON: Yes.

4 PARIZEK: --showing if fluids did get in there--

5 BODVARSSON: Yes.

6 PARIZEK: --sometime recently since it's been emerged
7 above the water table?

8 BODVARSSON: I don't know if you can say recently. This
9 gentleman, Zell Peterman, and Bryan Marshall in the audience
10 there, they--

11 PARIZEK: The main thing is if you've got--

12 BODVARSSON: Status of studies--

13 PARIZEK: --new--new minerals in there, then it would
14 suggest that water damn well did get into little small
15 cavities and therefore it could probably get into large
16 cavities for the same reason.

17 BODVARSSON: Right, well let me just summarize what I
18 think their studies have shown. They find calcite in some of
19 the lithophysal zones. We don't have sufficient information
20 to say what percentage it is everywhere, but it's in some
21 lithophysal zones--in small, and it's also some of the bigger
22 ones. If they integrate the calcite deposition over the 11
23 million years or so where the mountain has been in place, the
24 sea beds that goes into these cavities is extremely small.

25 Is that fair, Zell, Bryan? That's fair, okay.

1 PARIZEK: Unless it's episodic, it all happens in one
2 day.

3 BODVARSSON: Right, unless--yeah, that's true. The only
4 thing--well, just as a very good point, what we are trying to
5 do--I think needs to be done--is to develop a three continuum
6 model, because I think the lithophysal needs to be considered
7 as a separate continuum from the matrix and from the
8 fractures to full understand them.

9 BULLEN: Bullen, Board. Actually I've got a couple of
10 questions. The first one is you mentioned the bulkhead test
11 where you closed off the bulkhead and we understand that
12 there's some observations that are made. Could you comment
13 on those, about the recent observations of opening the
14 bulkhead?

15 BODVARSSON: I didn't go in there--

16 BULLEN: Oh, so you're not the--

17 BODVARSSON: But what test was observed in there, there
18 was a zone like 50 meter wide with salt water that everybody
19 believes is condensate water, that is not seepage. No
20 seepage was observed, no drips were observed anywhere in the
21 tunnel.

22 BULLEN: Thank you--

23 BODVARSSON: We are doing chemical analysis on the water
24 to make sure that it's condensate and it's not water that's
25 seeping.

1 BULLEN: And you'll know that because it'll look like DI
2 water?

3 BODVARSSON: Yeah.

4 BULLEN: It'll be very pure.

5 BODVARSSON: Right.

6 BULLEN: Okay, this is the hazard of putting extra
7 slides in, so I was looking at your last slide, which is
8 number 23?

9 BODVARSSON: Kidding me --

10 BULLEN: --which is the schedule--no, I've got to cheat
11 and look ahead.

12 BODVARSSON: Right.

13 BULLEN: You talked about the incorporation of data into
14 the SR--

15 BODVARSSON: Yeah.

16 BULLEN: --and you got three nice yellow circles that
17 say this is the data feed--

18 BODVARSSON: Can you go to the last slide?

19 BULLEN: Yeah, go to slide 23 please. You've got three
20 nice circles that say, looks like by April-May you're going
21 to have all the data that you're going to have for SR. And I
22 guess maybe the question for you is it looks like the niche 5
23 test is going to have some pretty good data between now and
24 the end of the calendar year. Is there any possibility that
25 you could incorporate that kind of--those kind of results

1 into SR? Or is it--

2 BODVARSSON: Yes.

3 BULLEN: It's going--oh, it will be in there then?

4 BODVARSSON: Well let me say this, the way we are
5 planning to do is the following: The TSPA uses seepage model
6 for PA, which is based on the seepage calibration model. The
7 data for niche 5 up until the end of July or August will be
8 put in the calibration model, but then will feed the TSPA in
9 due time. And information that comes in from August until
10 the end of the fiscal year, if it provides much different
11 results than what we have in the calibration model, will be
12 directly fed into the TSPA obstructions in January, February.

13 BULLEN: Okay. Now this is actually a question from the
14 audience.

15 BODVARSSON: Yeah.

16 BULLEN: Sorry about that. They want to know what
17 pressure you were using for ventilation during the alcove
18 tests, how much--how many--how much negative or positive
19 pressure was there? Do you have an answer to that one?
20 Anybody know?

21 BODVARSSON: No. I--sorry--does anybody here know? I'm
22 sorry about that. I don't know.

23 BULLEN: Okay, and actually the follow on question to
24 this is when you do your permeability tests, and if we heat
25 the rock up to whatever the temperature's going to be in the

1 near field, how big a significant--or how significant is the
2 change--are the changes in the permeability expected to be
3 during the heat up and then the resulting damage that would
4 be produced form the cool down? Do you have--is that the--
5 that's the goal for the thermal tests in the cross drift?

6 BODVARSSON: Well, you know, I think it's more the goal
7 of the current thermal test, the drift scale test, which is
8 ongoing now. In the drift scale test and in the single
9 heater test, we have been doing systematic air permeability
10 testing all throughout. We did it throughout the entire
11 single heater test and we are doing it periodically for drift
12 scale test.

13 The results so far show there are not major changes
14 in permeability anywhere close to the drift; maybe a factor
15 of two, up to five in some locations. And most of it
16 recovers very well. You know, factor of two and a factor of
17 five is nothing.

18 BULLEN: Okay, and you wouldn't expect there to be a big
19 difference in the lithophysal zone and the non-lithophysal
20 zone? Or does that not matter?

21 BODVARSSON: No, I would expect that if the permeability
22 is an order of magnitude higher, the lower lithophysal, and
23 again, remember this is one location--two bore holes--if
24 that's the fact, the higher the permeability to me the less
25 this impacts anything. Because the drain is potential for

1 two darcies is tremendous, and if you go down to 100
2 milliliters you still drain all the water anyway.

3 BULLEN: Okay, I guess this is my ignorance on flow and
4 fractured media, but if I heat up the lithophysal zone would
5 I expect the permeability to go up or down?

6 BODVARSSON: That's a million dollar question.

7 BULLEN: Okay.

8 BODVARSSON: Because--

9 BULLEN: --this isn't a bad question then.

10 BODVARSSON: No, that's a very good question. Because
11 when you heat it up, of course the rock expands, goes into
12 the fractures and the permeability goes down. On the other
13 hand when you heat it up you have shear movement also that
14 opens up the fractures and increases permeability. So far
15 the results, we think that the thermal mechanical effects on
16 permeability are not very important.

17 CRAIG: Thank you. Okay, we now have four Board members
18 with questions, and we're running out of time. So we'll go
19 as far as we can get and then we'll call a break, and I'm not
20 sure we'll get to everybody. But in any event, next is
21 Alberto Sagüés.

22 SAGÜÉS: Dan, thank you. You answered about two or
23 three of the questions I was going to ask, so. But really,
24 you're looking at the transport properties; they are
25 relatively freshly disturbed rock, right, by the drilling

1 process and so on.

2 But what is the relevance of those measurements to
3 the condition of the rock after say 5000 years after the
4 drilling? Don't things happen to the surface of the cracks,
5 or that maybe the lateral transport will be slower maybe--I
6 don't know, half as much, or maybe two orders of magnitude
7 less than now--and wouldn't that change the fracture to bulk
8 ratio transport? In other words, how good are these very
9 short term measurements to glean what is going to happen
10 after several millennia?

11 BODVARSSON: That's another million dollar question. My
12 feeling is that rock characteristics, properties, do not
13 change over geologic time. They do not change much over
14 thousands and thousands of years. However, what of course we
15 are concerned about is the stability of the tunnels and the
16 emplacement drifts, and that the shape of the drift is not
17 going to be as nice as we thought, so that seepage would
18 occur. And that of course is a big concern.

19 With respect to the permeabilities away from the
20 drifts, I don't think we have a lot of concerns about that,
21 except for the effect of heat --. Did I answer your question
22 in any way?

23 SAGÜÉS: Well real quickly, I guess what I was saying is
24 the interfaces. Of course there is a crack in the rock,
25 right?

1 BODVARSSON: Yeah, right.

2 SAGÜÉS: And could it be that--and you're relying on
3 some of the flow going through the bulk, supposed to go into
4 a crack when you're looking at seepage--

5 BODVARSSON: No.

6 SAGÜÉS: --at least on the local scale. No?

7 BODVARSSON: No. No.

8 SAGÜÉS: Okay.

9 BODVARSSON: Our permeability models basically neglect
10 anything going into the matrix. All of it is flowing in
11 fractures around to this. So it's again conservative because
12 it's all due to the fact these are under drifts.

13 CRAIG: Thank you. Okay, we're unfortunately running
14 out of time. With apologies to other Board members, we are
15 going to have to stop this session, and we now have a 15-
16 minute break, and we're going to resume at 10:10. Thank you.

17 (Whereupon a brief break was taken.)

18 CRAIG: We are now beginning the second part of the
19 morning session. And as you see from the Bill Gates special
20 presentation machine up there, PowerPoint, Tom Doering.

21 Tom Doering has degrees in civil and nuclear
22 engineering and currently manager of Waste Package design for
23 the M&O contractor. Mr. Doering will discuss another of the
24 principal factors, drip shield design.

25 DOERING: Drip shield design. Again I'm Tom Doering--

1 CRAIG: And I'll warn you when you have a few minutes
2 left, but if you follow the wonderful precedent from this
3 morning, you'll be finished early and have time for lots of
4 questions.

5 DOERING: We'll try to make a balance there.

6 Going in now to the engineering side, we're going
7 to review a little bit of the engineered barrier systems and
8 the waste package, and also we will work into the drip
9 shield, where our main talk is today.

10 I was sort of brought in--I usually get to do this
11 right after breaks or right after lunch. I usually keep
12 people awake or keep people moving on it; maybe keep people
13 thinking about some questions. So they usually put me in
14 after breaks. Also we have feedback.

15 What I would like to do today is talk a little bit
16 about the drip shield, the engineered barrier. I want
17 everybody understanding where the drip shield is, how it fits
18 and how it deals with engineered barrier systems, to goals.
19 And what is a drip shield there for?

20 We heard a lot of good information from Jack Bailey
21 this morning, also from Bo Bodvarsson how the water moves
22 through it. Then I want to take a look at the principal
23 factors. What are the principal factors in choosing a drip
24 shield and how does it behave and how is it designed?

25 Then the uncertainties, what are we looking for the

1 uncertainties? We're looking at a probabilistic distribution
2 on uncertainties; we're looking at that. And supporting
3 data, what is the data that we're looking at to support those
4 uncertainties, support the design and also support the
5 performance assessment process.

6 And some of the future activities--what is going
7 on? As we heard today, we are getting ready for the site
8 recommendation revision 0, and as we heard earlier, it's a
9 continuous activity. If the information doesn't make into
10 Rev. 0 it will be put into Rev. 1 and then move on to license
11 application. So the information will be incorporated as the
12 information's available and we can move into it.

13 Going into the engineered barrier system, how does
14 it look? This is sort of the drift, we do have some steel
15 sets--and right now the understanding is that the steel sets
16 will be there only in the areas that are required. So if the
17 ground is good the steel sets won't be there, but there might
18 be some other--not shotcrete--but removable--removed all the
19 concrete--but what we're doing is maybe putting some steel
20 sets and some anchors up in there.

21 What we're looking at is this is the representation
22 of the waste packages, as you can see, the 21 and the 44 and
23 the Navy long are in there. The interesting things are is
24 that we do have a palette design that supports the waste
25 package. That keeps it off the drift; also makes it easy for

1 emplacement to the 10 centimeters apart.

2 Now the topic that we'll be dealing a great deal
3 with today is the drip shield right here, which we have a
4 cutaway so we can see the waste packages. With the EDA II,
5 the license application designed evaluations, we've gone to a
6 line loading which pushes the packages very close together.
7 This also helps us in the sense that we don't have to have a
8 drip shield that stops and starts.

9 What we do here is provide a drip shield that is
10 also continuous, and right now it is self-supporting and
11 you're seeing it before the backfill goes in. Again the drip
12 shield is intended to go in at the point of closure of the
13 repository. So the drip shields will go in, and there's now-
14 -we're looking at, with backfill and without backfill in the
15 design evaluation areas.

16 So that sort of gets us in the formation of where
17 we are. Some of the materials that we'll talk about a little
18 bit later, but I want to point out the steel sets and the
19 invert material are carbon steel at this point in time, and
20 there will be some crushed material in between t his area so
21 as to bolster that area up, so actually you would not see the
22 cross members down underneath there or the support system
23 underneath there. They would have some crushed material in
24 that.

25 So that's where we are with the EBS. If you would

1 take that out and sort of refer to that, that's where we will
2 always go back to. So next slide please.

3 Goals, addressing the uncertainties--one of the
4 questions, what were the uncertainties in evaluation of this.

5 As we heard today from Jack Bailey was the drip shield added
6 a lot of performance to the--transport the radionuclides. So
7 what it is during the EDA II evaluation, we said this is one
8 area that we need to investigate and then put into the system
9 to see how it performs.

10 So since it added a lot of performance what we're
11 looking for is the sound technical bases for it. Now that's
12 what we're doing since EDA II. We're going back, engineering
13 and the science, all looking at the bases for this--we're
14 defining those things to find the process model of
15 uncertainties. Performance assessment is going off and doing
16 that as we speak and working with them. And then also
17 provide the adequate bases to support performance assessment
18 and the design.

19 And I'm going to stress a little bit the design
20 because I am the design engineer on this one, so you'll see
21 more from the design side and how we feed performance
22 assessment and how performance assessment comes back to us on
23 that. So it's a bit of iterative activity that we're dealing
24 with.

25 Why is it a factor? As we heard earlier today, the

1 drip shield does provide a long additional life; if we take
2 the waste package off you still have a lot of performance
3 without the drip shield and also a lot of performance without
4 the waste package. So depending on how we look at it, the
5 drip shield really extends that.

6 As we noted earlier the waste package has a nominal
7 configuration and environment we have today looks like would
8 last close to 100,000 years with the Alloy 22 on the outside
9 and the stainless steel on the inside. Truly, truly the drip
10 shield is a defense in depth. We've looked at that, we've
11 talked about that before. It provides us a defense in depth
12 process.

13 It also helps us in the chemical. We talked about
14 the nominal conditions; now we talk about the off-normal
15 conditions, what happens if we do have some drips or some
16 other chemical processes that take place in the near field or
17 the far field where it would come down into the drift.

18 And we heard earlier from Bo is that the drips
19 really went around--the water really wants to run around the
20 opening. It's a matter of what's the probability of the
21 drips coming in and also depositing some chemicals or other
22 material on the drip shield. If we didn't have the drip
23 shield it would straight on the waste package. So there
24 again we're chemically shielding the package.

25 And third we're looking at mechanical, and you'll

1 see this theme throughout the presentation. We have a
2 general mechanical, mechanical kind of feel to it. Basically
3 it helps the waste package from being damaged through time
4 also, provides a sacrificial shield in some respects. And
5 we'll talk about it a little bit more in detail and how that
6 happens.

7 So there we have--why is it a principal factor? It
8 really adds to performance; we've seen that through our--at
9 least the simple evaluations that we've done that Jack has
10 shown, and also I can tell you through working with the
11 performance assessment people, this is a very important part
12 of the PA activities.

13 Uncertainties--now I'm going to talk about the
14 uncertainties and how they all play together. As we talked
15 earlier, the nominal situation--the nominal situation, J-13
16 water, is relatively benign water, good balance pH; but what
17 happens chemically with the uncertainties? And what we're
18 doing is looking at the uncertainties and the bounding, the
19 sigmas that we're looking at.

20 And I can't tell you exactly the sigmas we're
21 looking at right now, but we are investigating to see how
22 large those are. So that is what's under investigation right
23 now. What we're looking at the drip shield to do is reduce
24 the uncertainty of water that contacts the waste package.
25 Basically reduces the sensitivity performance to the

1 geochemical environment that the waste package is in.

2 I kind of look at the drip shield as an interesting
3 event. I also referee soccer at both the professional level
4 and college level. A center referee is the person in charge;
5 he's the person who has to deal with the players and things;
6 the sideline or the assistant referees have to support the
7 referee. The drip shield is the assistant referee in this
8 situation. He is helping that person make the right
9 decisions and protect the players. So the drip shield's
10 there to support and make sure the primary barrier stands for
11 a long time.

12 Help mitigate water chemistry--we heard earlier
13 before the drip shield will hold the chemistry up and if
14 there is any evaporation it will hold it there and not on the
15 waste package. And it also will distribute the water if we
16 do get a large influx of water. It will distribute the water
17 on the outside on the tails, away from the waste package,
18 into the drift, and it'll go into the natural system that
19 way.

20 And so with all these things we're investigating,
21 what are the uncertainties, what's the probability of this
22 water coming in? What's the probability of the rock drops
23 that we're dealing with, gaps in some backfill areas that we
24 have to deal with? So those are the uncertainties in
25 distributions that we have to work and understand.

1 So with that, we'd like to go to the next one--
2 reduction. What we're doing here is to reduce the
3 uncertainty in the models themselves. And we have tests
4 underway right now. There is--I think the last trip we had
5 out here for some of the Board was go out to the Atlas
6 Program or Atlas facility and actually see some of the tests;
7 and those tests are underway right now.

8 They have found some very interesting results on
9 that, they've put a lot of moisture into it, heated some
10 areas up; and one of the things that we all looked at, we
11 wanted to see if we could actually get some recondensation
12 underneath a drip shield. We simply couldn't make the drip
13 shield drip inside, or rain inside, the drip shield. So that
14 test and that report are being put together right now.

15 So I mean those are things that are going, so we're
16 very sensitive to make sure that we understand that. We have
17 that pilot test going on with the EBS and understanding
18 what's going on. We also put a lot of moisture in there to
19 take a look at the distribution of moisture through the drip
20 shield, above the drip shield, below the drip shield. Those
21 --that data right now is being sort of synthesized and put
22 into a form that engineering can use and go forward on.

23 Again the severe conditions and aggressive
24 conditions, what we've always done is that the very nominal
25 conditions seem to make the system last for a long time.

1 Again the waste package by itself can last 100,000 years in
2 the nominal configuration. What we're looking for is the
3 tails, what do the tails look like? And so we're putting a
4 lot more moisture into the system and a lot more evaporative
5 conditioning than we anticipated.

6 And on the mechanical models we're also looking at
7 the strength of material, the titanium 7 that we're dealing
8 with. We're also look at stress corrosion cracking of the
9 titanium 7. We also have a lot of experimental work with
10 Lawrence Livermore National Laboratory in their corrosion
11 tests right now for the materials that we're dealing with, in
12 an aqueous system and sort of a bridge system, and also in a
13 gas environment. So we covered all three variations.

14 So what we've tried to do it put together a testing
15 program to help the uncertainties and bound the uncertainties
16 such that we have a good understanding of how all the
17 different avenues play, the chemical, the mechanical
18 activities, play together.

19 What I'd like to do now is that we heard a little
20 bit about the uncertainties the more we're doing the testing
21 programs. What I'd like to do now is bring you back into the
22 design. How does design sort of synthesize this information
23 and come up with a credible design that meets the
24 requirements? And also helps performance assessment in that
25 it comes back, performance assessment gives us some insight

1 on how the design should be handled from then on.

2 The general requirements that we're dealing with
3 right now, again the preliminary one, is that the design life
4 of the drip shield should be round about 10,000 years. And
5 it's the early time frame, so essentially we have the early
6 thermal pulse is over, basically the highly--you know,
7 basically the chemical activities of the near field are
8 essentially finished by then.

9 That does not detract from the performance of the
10 waste package. The worst thing we could do here is have the
11 waste package actually be accelerated or fail earlier
12 because we have a drip shield. That was one of the reasons
13 we took a look at if we'd had dripping water underneath it,
14 would we get actually secondary dripping water on it? That
15 was the one of the things we wanted to make sure of.

16 Divert the water around it, around the waste
17 package, into the environment, into the far field, and
18 increase time before water actually contacts the spent
19 nuclear fuel--that's very important. Understanding we
20 haven't taken a lot of consideration of the basket material
21 inside either, there's a lot of performance inside the
22 basket, the waste package also.

23 One of the things that we're investigating also is
24 the different mechanical failure mechanism that we could have
25 if we put a drip shield in there with and without the

1 backfill. With backfill right now we're taking a look at is
2 that the backfill--with backfill, basically the backfill
3 becomes sort of a buffer or a spring. So it doesn't impart
4 that much load to the--dynamic load to the drip shield.
5 Without backfill we have to take a look at the rock drops and
6 understand how they behave and the probability of occurrence
7 of the rock drops. So those are all things that are going on
8 right now.

9 With that I'd like to go into some of the material
10 selections and some of the things that we've come up with for
11 the current design that we have. This is beyond the license
12 application design that we looked at before, so this is new
13 information.

14 Titanium Grade 7 was liked because it has very good
15 performance. As you can see, it has on the order of .03
16 micrometers per year of general corrosion. Very resistant to
17 stress--to crevice corrosion--that's one of the requirements
18 that we put upon ourselves; and in a stress relieved
19 environment or stress relieved state it does not have--it's
20 not susceptible to stress corrosion cracking.

21 The Alloy 24 that we have up there for titanium is
22 actually, you'll see later, is a similar material. It's a
23 little bit higher strength, and from a design point of view I
24 need to put a couple of stiffeners here and there to make
25 sure this 5-meter-long device can be actually handled and

1 emplaced and also can sit there and take some rock fall. So
2 that's why you see some of the Grade 24 there.

3 And also at the bottom here, as I mentioned
4 earlier, the Alloy 22 is to essentially buffer the carbon
5 steel from the titanium; and you'll see that foot and I'll
6 explain that foot. As I mentioned earlier in the EBS
7 picture, the lower support structure inside the drift are all
8 carbon steel. What we're trying to do is sort of buffer the
9 titanium away from the carbon steel there. Next slide
10 please.

11 Okay, going into the detail of the design exactly,
12 this is 15 millimeters of Alloy--not Alloy 22--but titanium
13 7. You can see there's internal supports on the upper roof
14 of it. You'll see some supports here, some stiffeners there.

15 Those are to handle essentially the handling loads and the
16 rock fall load and the sand loads, static loads that we're
17 having to deal with with backfill. This on the order of 5-
18 1/2 meters long, so it's a standard unit.

19 There's no intent to have any special unit for any
20 waste package. It will essentially be put in place above the
21 waste packages after 50 years, right before closure. You see
22 t his little hook there. That is simply a denotion or
23 denoting a handling mechanism so the surface and subsurface
24 people can handle it before it gets placed--emplaced.

25 We'll go into detail next slide, but we'll go into

1 the skirt area--oh, thank you--right here is sort of a pin
2 that helps us align it. We also have a skirt area that 7
3 actually overlaps, as we saw earlier on one of the slides;
4 it's to make sure we don't have any gaps or any kind of
5 material can go in between the drip shield. Now next slide.

6 And this goes in some detail. I think this is a
7 slide that only the designer can understand without some
8 pointers and some labeling on it. This is to represent one
9 drip shield here, there's one here, and the other drip
10 shield's right here. And this is the interconnect part. All
11 the drip shields are the same so there's no unique
12 characteristics to it; simply places in.

13 Again the lineup in here, it's really--the
14 designers did a good job. The team we had was--looked at
15 seismic events and different relocation events and what
16 happens if you do have backfill, if you have some motion
17 because of your emplacement; and then if you do have some
18 rock drop, if you get some dynamic load on the drip shield
19 what would happen.

20 So that pin is there, actually designed to make
21 sure there is no decoupling it, so you essentially have a
22 continuous length and so you don't get any offsets due to
23 that. Now one of the other questions we had is how do we
24 get--how do we make sure that there's no moisture, any kind
25 of water through--a gush of water coming in. Again the tails

1 of the uncertainty bound. How do you prevent that from
2 happening?

3 We well we put little moisture barrier rings right
4 in here. One's up here and one is right here. Those are
5 welded on, continuous weld--seal weld--onto it. So any
6 moisture, if you have any kind of angle on it, would hit this
7 and then run down. Remember gravity's our friend in this
8 situation, so what happens, it hits those and runs down the
9 drip shield.

10 Also on this side similarly would come past here
11 and then also run down, so it never gets a chance to come
12 through this gap that we have to have for alignment purposes
13 and things in that nature. We have to have some area where
14 you have to give the engineer some alignment area, some
15 tolerance. So that's the tolerance area, but no moisture and
16 no separation can occur. And again this is for 15
17 millimeters of Grade 7, so we have that, and so that's the
18 design as it stands right now.

19 Some of the results that we've done--what have you
20 been doing? We've looked at--from performance assessment to
21 the uncertainty bends that we have. We've worked with--what
22 we've done is take a look at the design to make sure it does
23 meet it. We had a requirement from the performance people
24 and also from metallurgists with a backfill environment. We
25 would like to keep below 20 percent strength of yield--I'm

1 sorry, of yield--by titanium to prevent stress corrosion
2 cracking from even having a possibility of initiating. And
3 that's been accomplished by the 15 millimeters and the
4 stiffeners that you see.

5 Where we're looking now is looking at different
6 rock sizes and finding the distribution. There was a very
7 good report that was just issued on key block evaluation, and
8 that has actually been updated a little bit now because in
9 the key block evaluation we had the angles, I think 105, now
10 we've moved to 75 degrees with the different key blocks, and
11 it doesn't affect the different key blocks that come out; and
12 actually, to our benefit, it actually decreases the size of
13 the rocks and the distributions that we anticipate.

14 In the chemical evaluation, since we have the tests
15 going on at Lawrence Livermore National Laboratory we're
16 confident the titanium 7 will behave nicely inside the
17 repository; and localized corrosion rates are very, very low
18 in this environment, even on the tails. SO that's where the
19 design is, and this is the results of it.

20 With additional work what we're doing is we are
21 looking at the Atlas facility and taking a look at those
22 activities and seeing how the circulation goes; and we're
23 looking at performance model updates. From that information
24 and from the information that we have, geochemical
25 environment, basically if you have moisture that does drip on

1 it, what are the chemicals that come along with it; what are
2 the chemicals that are left there due to its evaporation.

3 Remember the drip shield will be the second warmest
4 place inside the repository because the waste package is the
5 warmest, and then the drip shields are on the order between
6 20 centimeters and four--10 centimeters away from the waste
7 packages. So they will have a high temperature for a longer
8 period of time. So we are looking at the geochemistry very
9 carefully.

10 Rock fall distribution, that's in the work right
11 now. We have a task team that's looking at different rock
12 fall distributions, and at the different strata in rock fall.

13 Basically all the rock doesn't fall the same in different
14 strata, so what we're looking at is the distribution. So
15 it's again a probability distribution, looking at what's the
16 probability of a certain rock and what topography do we
17 anticipate that. So we're taking that, all consideration,
18 and wrapping it into the design requirements.

19 We're looking at design response to it. We have a
20 dynamic code. We actually do real dynamic evaluations from
21 the design point of view to see its instantaneous hit, what
22 it does to the waste--to the drip shield, and how it protects
23 the waste package in that sense. Do we get contact, don't we
24 get contact.

25 Essentially when you have dynamic load you get a

1 bend and it comes back up. An interesting part of that is a
2 lot of times when you have a dynamic load is you would think
3 that the highest tensile strengths would be on the bottom.
4 It's actually not the highest; it's actually lower, so
5 actually in compression because it's a plastic defamiation, it
6 comes down, it comes back up.

7 So the lower part of the inside of the drip shield
8 is actually in compression only if you have a punch-through
9 or a very, very high load that would set stress corrosion
10 cracking; you would have a tensile stress there. So we're
11 taking a look at those, making sure we understand that.
12 And also, again as I noted, we have some tests going on the
13 low C road and we're incorporating that into the design.

14 With that, I think that slide--13--one more slide?
15 That's it? Okay.

16 CRAIG: Okay, thank you, Tom. You know, if you ever get
17 around to making a 1:50 scale model, I would like to have it
18 because I need a new mailbox at home.

19 DOERING: It would last many years.

20 CRAIG: Okay, questions from the Board, Richard Parizek

21 --

22 PARIZEK: Yeah, Parizek--

23 CRAIG: --followed by--

24 PARIZEK: --Board. Question--

25 CRAIG: Just a second, let me construct the list here.

1 Parizek, Nelson, Sagüés, Bullen.

2 PARIZEK: Parizek, Board. Question about
3 retrievability. How--does this complicate retrievability or
4 is this thing easily dismantled if you need to get in there
5 and start pulling out waste packages?

6 DOERING: Could we go to the very first slide, where
7 they show the picture of the EBS? There we go. This design-
8 -our theory right now is that you would not emplace the drip
9 shield until you make a decision on the license to close. So
10 at that point in time you wouldn't put that in.

11 Now the question is if you have put backfill on, it
12 becomes more interesting to remove it. But if you do have it
13 in and they simply say there's something not behaving well,
14 this is very simple to remove because it would just simply
15 come off and just simply grab the first one, you bring it off
16 and grab the next one--just comes right off as you put it in.

17 So it's a very simple--bring the drip shield over the
18 package and set it down. And reverse it, just pick it up and
19 bring it back out.

20 PARIZEK: Continuation question, if there are say small
21 rock falls that get in the way of where this thing is going
22 to be placed, at time of closure, would you have to go clean
23 this place out, muck it out?

24 DOERING: If it would hit right next to the package, lay
25 right up against the package, the answer is--for this design

1 the answer is yes.

2 PARIZEK: And one other question, what's the worst case
3 failure scenario you imagine for drip shields? What could
4 you do to really make one fail?

5 DOERING: To make one fail, what we're looking at is--we
6 don't--with the chemical environment that we anticipate, we
7 don't see there's a problem with that. The off-normal event
8 where we'd take and look at that, we don't believe the
9 titanium 7 would actually have a failure due to corrosion
10 activity.

11 The only time we could really see if you were to
12 get a high stress to a very large rock fall. This is on the
13 order, you know, maybe half the drift would fall in. But at
14 that point in time there is more difficulty than just the
15 drip shield not doing well. Now you're dealing with a major
16 rock fall before you close.

17 Does it make sense? I mean a drip shield is
18 designed to take a design basis rock.

19 PARIZEK: The question is the drip shield's in place,
20 you've closed the door and then the drip shield fails. You
21 don't intend to retrieve the package, but in terms of just
22 performance of the whole repository, how that factors into
23 the--

24 DOERING: Again--

25 PARIZEK: --mechanisms.

1 DOERING: Okay, going back to Jack Bailey's
2 presentation, you can see, if we do have a localized failure
3 of a drip shield it probably won't affect the overall
4 performance of the repository. We do have the waste packages
5 directly underneath it, which has the long term performance
6 material on it too, given it different barriers.

7 So we don't see a few failures of the drip shield
8 as detrimental to the overall performance of the repository.

9 PARIZEK: And there's no such thing as juvenile failures
10 of drip shields?

11 DOERING: We'll look into it, but the answer is no.

12 CRAIG: Alberto, hold off for just a moment if you
13 would. As you all know, the Board likes to take questions
14 and comments from the public, and one's been handed to us and
15 it's a good one. So I insert it.

16 What is the cost, how many, how will they be placed
17 in Yucca Mountain?

18 DOERING: The costs, depending on the variations, I
19 think Hugh Benton has the latest cost on the drip shields on
20 that. I think he brought them in this morning, since we just
21 priced them. Let me go into how they're--second part of the
22 question, how are they going to be emplaced?

23 CRAIG: How many?

24 DOERING: How many? There will be on the order of
25 around 10,000 segments--on the order of. Again the waste

1 packages are on the order of 5, 5-1/3 meters long, so are
2 these; they're very close to the same length.

3 CRAIG: And the last is how will they be placed?

4 DOERING: Emplaced actually be a gantry system similar
5 to the waste package emplacement system, essentially just
6 simply the gantry system. We modified to grapple the four
7 lugs at the top, the hooks, and just take--the gantry takes
8 them in, just sets them in.

9 And Hugh has the latest costs.

10 BENTON: Benton, M&O. The--each drip shield segment
11 costs a little bit over \$200,000. Total cost for the entire
12 repository, the SR design, is of the order of \$3 billion.

13 CRAIG: \$3 billion. Thank you very much. Alberto.

14 SAGÜÉS: Priscilla first.

15 CRAIG: Priscilla--oh, I'm sorry, Priscilla and Alberto.

16 NELSON: Thanks. Nelson, Board.

17 DOERING: Let me add something just to that cost. A lot
18 of that cost is the grade 7 titanium. Palladium prices have
19 been going up and down a bit and we're up in the peak right
20 now, so the price within the last month for palladium has
21 gone up.

22 NELSON: That's right. Nelson, Board. I want to take
23 some sense of satisfaction that the project is doing the work
24 that they're doing on rock falls, probabilistic approach,
25 because I think--well warranted, and I look forward to more

1 information derived from it.

2 What I'd like to ask you just generally is what are
3 the seismic design requirements? What--what is--what are you
4 designing for in terms of seismic event and to what extent
5 does it control the design? And I guess there's not only the
6 underground accelerations that you'd be working with, but
7 also the possibility of displacement as opposed to just
8 accelerations. Can you tell me about that?

9 DOERING: I can go into the accelerations. The
10 displacements we haven't worked in that detail yet from the
11 design point of view. The accelerations right now, we're
12 still working with a .66 g acceleration. We're looking all
13 the way up to 1 g--

14 NELSON: Vertical?

15 DOERING: Yeah.

16 NELSON: What horizontal?

17 DOERING: We have to bring that into a horizontal.
18 That's--our designers have to bring into the frequency and
19 the vibration processes. I didn't bring those slides with
20 us, but there are a whole bunch of different frequency
21 evaluations that we do--what frequency to worry about.

22 From a waste package and support system it's not
23 only the vertical, the horizontal, but also what we have to
24 do is what frequency does the package and the palette
25 resonate at. And so we're looking at those, and we actually

1 do have that, and I just didn't bring them with me.

2 NELSON: How much does that--does that control various
3 aspects of the design very strongly?

4 DOERING: What it couples to, it's the waste package
5 support palette. That's where it's controlled, because what
6 we're doing there is we're forcing the requirement into the
7 palette design to make sure the package doesn't fall out or
8 move out of it, nor the palette move along the drift. So
9 we're--

10 NELSON: That's for the waste package though. What
11 about the--

12 DOERING: The drift--or the drip shield has a similar
13 one, where we're taking a look at different vibration modes,
14 and seeing if we need to couple it. Right now we don't see a
15 need to couple it to the support system, but that's one
16 option. Right now this one behaves, from the very limited
17 evaluation we've done--we've only done limited because this
18 is relatively new design--we don't see a problem with its
19 motion at all.

20 If you put it in any kind of rock fall, anything
21 gets around it, you sort of stabilize it that way; but this
22 one is pretty stable as it is. Remember this is over five
23 meters long and over three meters in diameter--or wide--so
24 it's a pretty big stable thing.

25 NELSON: Are you planning on doing a displacement

1 consideration for discrete fault displacement?

2 DOERING: I don't know. I have to take a look at the
3 geotechnical people to see if that's part of the requirement.
4 Again, we're on the design side, so we wouldn't respond to
5 that. So we haven't heard that one yet, so.

6 SAGÜÉS: This will be just about the largest titanium
7 application ever built, I believe, correct?

8 DOERING: I think the Russian submarines beat us by a
9 few meters.

10 SAGÜÉS: I see. Well I was talking about the integrated
11 thing. Each drift would have about kilometer or so worth of
12 titanium, and now that creates a couple of interesting
13 questions. First of all--of course the integrated thermal
14 expansion would be in the order of a meter or two, and I
15 presume that there is some gap in between there so that each
16 renovation expand a few millimeters?

17 DOERING: Right. That's why you see in that one slide,
18 the very last slide with the coupling, you see there's a gap
19 between the drip shields. And as you note--there we go--as
20 you note, this pin is not a tight fit pin.

21 SAGÜÉS: Right.

22 DOERING: It provides some movement, so we have to have
23 some movement through the thermal expansion. When these
24 things go in though, you have to remember the system is
25 already pretty much stabilized thermally, and the repository

1 after 50 years in the drift has stabilized. Now the
2 repository in general is still warming up. But around the
3 drift it's pretty much reached its maximum temperatures.

4 And so what we're doing is putting in through a
5 very, sort of--not a high rising--there's not a large thermal
6 swing.

7 SAGÜÉS: You mean you're putting in place already hot?

8 DOERING: No, we don't warm them up before. I'm saying
9 the repository, the environment itself, it's not a quickly
10 varying thermal environment when we put them in.

11 SAGÜÉS: Right, but when you close the drifts and then
12 the temperature begins to go up--

13 DOERING: It'll come up--

14 SAGÜÉS: --then that's going to--

15 DOERING: Yes.

16 SAGÜÉS: --has to come of it for that kind of a--right.

17 DOERING: That's why that's--

18 SAGÜÉS: Now--

19 DOERING: --that's why the gap is there, that's why the
20 design is the way it is, because we have a skirt that
21 overhangs--

22 SAGÜÉS: Right.

23 DOERING: --to make sure that we don't get any
24 separation during seismic event, if we get any kind of
25 buckling. We know we're going to get some motion, but how

1 much--and this will hold it together. And that prevents any
2 material getting in here or any kind of water from getting in
3 there.

4 SAGÜÉS: So that there--

5 DOERING: --also thermal.

6 SAGÜÉS: The friction coupled against each other with a
7 plate on the pins, and now when--have you figured out
8 anything about the stresses that would develop when they
9 accumulate against each other? Like for example could it be
10 --is there any way that they could be like lobbed against
11 each other, friction-wise, and you will end up developing say
12 tensile stresses considerably, around the coupling that--

13 DOERING: Well--

14 SAGÜÉS: --induce--because, you know, again the
15 integrated expansion, even in individual shield, should be on
16 the order of millimeters. That's not a trivial amount to
17 accommodate, is it?

18 DOERING: Not on the lengths we're dealing with, and so
19 that's one of the designer's activities. I didn't bring that
20 calculation with me, but it's something that our designers
21 have looked at and looked at thermal expansion on that. We
22 don't believe we would get any kind of high stresses due to,
23 you know, essentially buckling or essentially, you know,
24 interference on that. That hasn't been a difficulty with
25 this design.

1 SAGÜÉS: Um-hum, and the possibility of the cold
2 adhering against each other after being for many years
3 together, touching, that's not a consideration?

4 DOERING: Maybe I didn't understand the question.

5 SAGÜÉS: The possibility of their cold adhering against
6 each other--

7 DOERING: Oh.

8 SAGÜÉS: --after being--

9 DOERING: Titanium has--

10 SAGÜÉS: --no?

11 DOERING: We don't believe so. I mean if you take it
12 out in space where it doesn't have the oxide layer buildup;
13 but titanium loves to build nice oxide layer up.

14 SAGÜÉS: Sure. Of course when they scratch against each
15 other the layer is destroyed--

16 DOERING: Right.

17 SAGÜÉS: --you know.

18 DOERING: But with the titanium Grade 7 that layer is
19 generated very quickly. That's one of the reasons why
20 welding, abrasing titanium is very difficult because the
21 oxide layer comes back so quick. So that--essentially the
22 oxide layer acts as a sort of a lubricant in that area and
23 prevents the galling like in stainless steel 3 or 4, which
24 doesn't oxide, you know, doesn't have that oxide layer very
25 quickly.

1 SAGÜÉS: I see. And then the other thing is again, this
2 sort of another--sort of -- ask it, would be that we would
3 have--again kilometer range long chains of titanium metal,
4 has anyone looked at things like the possibility of
5 dielectric currents or some such events? Have you seen
6 pipelines, you know, -- and you end up having currents
7 running from one end to the other--

8 DOERING: Oh, current--

9 SAGÜÉS: --possibility?

10 DOERING: That one we haven't looked at, so to get to
11 the point, we have to take a look if we induce any kind of
12 current in the system.

13 SAGÜÉS: Thank you.

14 DOERING: Thank you.

15 CRAIG: Other questions from the Board? Dan Bullen.

16 BULLEN: Bullen, Board. Just a couple of quick
17 questions, Tom. If you place these packages--or excuse me--
18 place the drip shields will there be an event where you'd
19 say--Bo told us there were some highly fractured regions that
20 they saw on the lithophysal zones--would there be places
21 where you wouldn't put a waste package? And if you did put a
22 waste package there would you put a drip shield--keep the
23 drip shield continuous, or would you just not put the drip
24 shields either?

25 DOERING: The decision hasn't been made on that one yet.

1 There's two options at that point. We can either put a cap
2 on the drip shield and put a standoff so the drip shield
3 doesn't--isn't there, so essentially the drip shields now
4 have a new design, essentially has an end; or we could put it
5 continuous if we don't believe that's detrimental. That
6 decision simply hasn't been made yet.

7 BULLEN: Okay, and then I guess the other question that
8 I have with respect to your rock fall analysis, the biggest
9 gap--or excuse me--the smallest gap that you have between the
10 drip shield and the waste package is now about 10
11 centimeters?

12 DOERING: Yes.

13 BULLEN: Okay, and so if you had a rock fall that
14 essentially didn't deform but displaced the drip shield you
15 wouldn't cause a crevice to corrode--a crevice between the
16 waste package and drip shield by moving--moving the drip
17 shield over with the rock fall? I'm thinking of a rock fall
18 off center that wedges it sideways and basically moves it.
19 Has that analysis been done?

20 DOERING: That's going on right now, but the palette--
21 which I didn't bring, which I'm sorry I didn't bring--palette
22 design has a system that prevents the drip shield from coming
23 in--

24 BULLEN: Okay.

25 DOERING: --to contact the waste package. We call them

1 the bumpers.

2 BULLEN: Okay, but the crevice would be between the
3 palette and the drip shield--

4 DOERING: Correct.

5 BULLEN: --so there's potential degradation mechanism
6 there, but it's not the waste package that has the crevice.

7 DOERING: Correct. That's the intent.

8 BULLEN: Okay, thank you.

9 CRAIG: Okay, do we have any questions from consultants
10 or staff? Don Runnells.

11 RUNNELLS: Runnells, Board. You mentioned very quickly
12 a footing of some kind to prevent--provide a buffer between
13 this material, and I think you said the carbon steel?

14 DOERING: Correct.

15 RUNNELLS: Could you explain that just a little bit more
16 as to what that is and why it's there?

17 DOERING: Okay, basically what we do, on the bottom of
18 the drip shield there is an angle, basically an angle iron
19 attached to the bottom of a drip shield. That angle iron is
20 made out of Alloy 22, which plays well with titanium--it gets
21 along really well with titanium because there's no galvanic
22 couple setup there.

23 Also it deals very well with carbon steel. Since
24 the invert has a lot of carbon steel on there, we didn't want
25 the titanium to be any--susceptible to height or hydrogen

1 pickup, which some titaniums are. Titanium Grade 7 doesn't
2 have that characteristics, but we wanted to make sure that
3 that system or that probability of occurrence is simply taken
4 off the table.

5 So we just put small little angles of Alloy 22 in
6 the bottom sort of as a spacer in between the invert and the
7 titanium Grade 7 drip shield. Does that make sense?

8 RUNNELLS: It makes sense, yeah. Thanks. And following
9 up on Alberto's question then about currents being developed,
10 have you analyzed the possibility then of the generation of
11 galvanic cells in that three-metal system?

12 DOERING: We believe that the--again, if a galvanic cell
13 would be set up, there was some dunnage or some rock
14 underneath there, the allow or the carbon steel would go
15 first. So that's the intent, so the carbon steel would be
16 sacrificial to that.

17 CRAIG: Okay, any other questions? In that case, thank
18 you very, very much, Tom.

19 DOERING: Thank you.

20 CRAIG: And we turn to the last presentation of this
21 session, which I'm inclined to think of as the Super Mario or
22 Game Boy part of the session, simplified model available to
23 everyone. Actually I like that kind of thing, so that'll be
24 wonderful.

25 Mark Nutt is going to tell us about a simplified

1 performance assessment capability. Mark Nutt works for
2 Golder Associates. His doctoral research was in the area of
3 performance assessment, evaluating high level nuclear waste
4 forms that would be generated by the Oregon National
5 Laboratories Electro-Metallurgical Treatment Process.

6 And we look forward to learning about the
7 simplified model. Again, I'll warn you a few minutes before
8 your time is up if necessary.

9 NUTT: One thing you forgot is where I got my degree
10 from and who I studied under, who was Dr. Bullen over there.

11

12 CRAIG: Dan Bullen.

13 BULLEN: Don't mess up.

14 NUTT: Don't want me to embarrass you, huh? I'll try
15 not to. In this morning or day session I feel like I'm kind
16 of the odd man out. You're hearing a lot of new information
17 that was talked about this morning. You're going to hear
18 some new scientific studies that are going to be talked about
19 this afternoon.

20 Some of the information I'm going to present here
21 is based on an old model, but it's a new way that we're
22 pursuing within the project to try to communicate some of the
23 aspects of the performance assessment. If I could go to the
24 next slide.

25 So what I'm going to do is start with overview.

1 I'll give a little background of what led us to this effort,
2 objective of the simplified TSPA effort, and keep in mind we
3 are--or I feel we should be looking for a name change. The
4 simplified TSPA is what we started with and it's kind of
5 stuck with us. But I feel we need to come up with a better
6 name.

7 That said, I'll talk about the software that's
8 being--that we used on the project, on the task, the current
9 status of where we're at, and what we're doing right now. So
10 with the background, you've heard many talks about how
11 complicated it is to present a TSPA type analysis.
12 Especially to technical experts it's difficult to understand
13 --takes a while to come up to speed on what you've done; and
14 to the general technical audience.

15 This results from the complexity of the system
16 you're trying to evaluate, which Yucca Mountain is a very
17 complicated systems, lots of processes going on, lots of
18 things that have to be modeled. These result in a complex
19 model itself. It's necessary for compliance type
20 calculations.

21 Everything that's important that could possible
22 affect performance has to be included in the model or else
23 you feel that you've missed something. SO you have to be
24 able to assess the sensitivities of these--every factor to
25 see if it impacts the end result.

1 It's also difficult due to the representation of
2 uncertainty and the alternative conceptual models involved.
3 You have to be able to carry those into the model. You have
4 to be able to communicate them; you have to be able to
5 explain what you've done.

6 There's also limitations of the system software
7 that's been used in the past. Dr. Bullen's familiar with
8 using the old RIP software; kind of cumbersome for people to
9 us, and the linkages. We have received some constructive
10 criticism regarding model transparency from this Board, from
11 the USGS, from others.

12 Another aspect is the organization that we work
13 with helped doing the technical review of the PA products,
14 among other products that are produced for the project. So
15 we have to thoroughly understand the models that go into it,
16 and this task and this effort supports that role of helping
17 do the technical review on the project side of the PA
18 products.

19 So what was our objective--what do we aim to do?
20 First we wanted to start off developing a tool to help
21 communicate to a general technical audience. And where we're
22 aiming at with the end result of this task is roughly high
23 school graduates to college professors, kind of with a
24 technical background--somebody that wants to understand
25 what's going on at Yucca Mountain, how you expect it to

1 perform.

2 What do we need to communicate? What is a TSPA?
3 What is the black box magic that everybody refers to? How
4 does the model work? Because in the end result we want to
5 explain how do we--how do we expect the repository to
6 perform. Part of that explanation is well we've modeled it.

7 How have we modeled it--we used the TSPA. So we have to get
8 across the whole aspect of how the model works, what it is;
9 among other things, to explain to this audience how we expect
10 the repository system to perform.

11 By doing this effort it also enhances the technical
12 review capability within the project. It helps ensure the
13 transparency of the TSPA models themselves to the underlying
14 documentation. So in a sense, can the model be reproduced?
15 Can model analysis calculations be reproduced by somebody
16 just picking up the documentation and sitting down and trying
17 to do it themselves?

18 So what we started is a two phased approach. The
19 first phase, it's completed, all status on right now, is a
20 prototype model that was based on the viability assessment;
21 namely to get our feet wet in the process, see what we need
22 to do, get some lessons learned; followed by a simplified SR
23 model that we're undertaking in a parallel effort to the
24 TSPA-SR development. Next slide please.

25 Going into a little bit about the software that we

1 used. It's kind of set the stage. We've used what's called
2 the GoldSim software. It's the same platform that TSPA-SR
3 will be built on. It's an evolution of the RIP program that
4 was used for past TSPAs, VA, TSPA-95 and on back; has the
5 same analytic capabilities as RIP, a few enhancements in some
6 areas.

7 Primarily it has an improved user interface with
8 good presentation capabilities that we on this side--on the
9 simplified PA project took advantage of. Some of the
10 features of the GoldSim code, it has the ability to link to
11 external codes and routines. If there's some aspects of
12 GoldSim that the user doesn't feel do the job adequately that
13 they need to do, they can write their own source code and
14 have GoldSim call it up.

15 TSPA-SR will do that. They do that in several
16 instances. They feel it needs a little more horsepower in
17 certain aspects of the model, so they call out to these
18 routines or full codes that are written.

19 Another aspect's the model and results are self-
20 contained, so you have an input deck, you run the code, you
21 get the output, it's all self-contained within a package.
22 You don't generate like reams of output you have to go
23 through. It's all in a software package. Then if the user
24 goes in and makes a change to that package, the results get
25 erased; so it maintains some control within inputs/output.

1 You have the ability to link to external data
2 sources, for example control database. You can have GoldSim
3 link to it, pull the parameters out, date stamp that that's
4 when it got another software or model control feature. It
5 can also be--the features of GoldSim allow it to be
6 documented internally.

7 You can document using--there are some what are
8 called notes features, various other features, to document
9 the model--where you got your information from, your source
10 data, your conceptual models. And if you want to do even
11 more you can hyperlink just like a Lotus--or an Explorer
12 browser, and go off to additional documents that will support
13 that model. We have used some of the hyperlink features.

14 Some of the user interfaces that make it a nice
15 package to use for a communication type aspect is it's a
16 graphical and object oriented program. You can drag and drop
17 pieces, you can pull in icons, you can have pictures, you can
18 do all kinds of stuff with it to make it a presentation
19 capable software. The model itself can be presented.

20 And that's what we've done. If you get a chance
21 we've got a demonstration of the actual--one of the models in
22 the back that show the graphical capabilities of the
23 software.

24 You can structure the model on a component basis,
25 so you can put ever model piece parameter, expression,

1 variable related to one component together. Almost in like--
2 if you can imagine Windows Explorer. You can set up folders.
3 We can set up containers; in each one of these you can put
4 everything that has to do with that model.

5 So unlike the old version that as used for the past
6 PAs, pieces of the model could be all over, and it was
7 difficult to pull them together and understand where things
8 were at. So you had to be an expert in navigating the
9 software, understanding how it worked, to be able to figure
10 out how the model even worked. This one allows you to pull
11 things together.

12 You can also use a hierarchy to push the details
13 down, and this is more for aiming at audiences. Some people
14 want to see how the system works on a top level, maybe how
15 release rates and radionuclide masses move from one place to
16 the other. That can be done at a top level. But you can
17 push the engine down, the actual calculations that drive how
18 that happens, down to further levels. You're not hiding
19 them; you're just pushing them down so that you don't clutter
20 up the up-front, where you're really trying to get the
21 message across.

22 You can add ancillary text, figures and pictures in
23 the model to help really explain what's going on, support the
24 data, support the model; and you can add results elements in
25 any location. So if you want a subsystem release, you want

1 to see how the engineered barrier system is releasing
2 radionuclides over time, you can add it in that component on
3 engineered barrier system releases. After the model runs,
4 doubleclick on it, see what the result looks like.

5 So it's a very powerful tool for being able to show
6 the model, show the results, show the inputs, document it,
7 and I invite anybody to come back and have a look at what
8 we've got in the back of the room. Next slide please.

9 For phase 1, which we've just completed, again it
10 was a prototype, it was a simplification of TSPA-VA. It's
11 called a proof of principle, it was to get our feet wet, see
12 what we could simplify, what level we could come down to, how
13 best to package the model and what other things we possibly
14 need to do to get across the communication aspect of it.

15 And I got the bullet--simplified does not mean
16 simple. It's still a very complicated model. It's a complex
17 process. We ended up having a pretty big model. We've
18 included all the component models in the VA, from climate,
19 infiltration, all the way out to biosphere. All the same
20 components that you saw in VA are in our simple model.

21 Some of the VA models were simplified where we
22 could, and what I mean by where we could, some couldn't be
23 simplified without affecting the results. If we went--and
24 the examples are EBA transport and seepage. If we were to
25 try to change those much, we would have missed our constraint

1 --which I forgot to mention.

2 We had a constraint that we put upon ourselves that
3 we wanted to reproduce the VA results; we wanted to stay
4 faithful to the VA since we were trying to get a model to
5 help communicate the VA. We tried to stay--we aimed--that
6 was our aim. So it forced us that we couldn't simplify some
7 of the models. EBS transport, seepage were a couple of
8 examples. We had to stay with what we did.

9 Some of them were sufficiently simple, as they were
10 included in the VA that really didn't require us to do
11 anything else. The climate model, for example, was just--if
12 you recall the step changes to a different climate. We just
13 kept that one. The biosphere was just those conversation
14 factors that took concentrations, multiplied them by a
15 number, and gave you a dose per radionuclide. We stayed with
16 that value.

17 Others were significantly simplified. How we
18 represented the EBS, how we represented--used the unsaturated
19 zone and saturated zone flow and transport. For example, for
20 the unsaturated zone transport the TSPA-VA calls out to a
21 three-dimensional particle tracking routine that takes masses
22 output from RIP, tracked it, put it back in, and went on its
23 way within RIP.

24 We didn't do that. We used the features within the
25 GoldSim to build our own unsaturated zone transport algorithm

1 to model it--much simpler, same conceptual model, just a
2 different approach. Next slide please.

3 What we ended up with was a self-contained model
4 with results that are consistent with VA. So as you can see,
5 these are the VA results, these are what we came up with.
6 These are the 100 realization runs on each case for the three
7 periods, 10,000, 100,000, million years; same with this one.

8 So we're very close, so we felt we passed the test on
9 maintaining consistency with the VA.

10 And it is a functioning model. That model sitting
11 back of the room functions. A single realization requires
12 about one minute of simulation, of run time. And that's not
13 --I'm not doing this to brag, that we're fast, we can do it
14 quicker, we can do it better. I'm doing this because for the
15 next phase we needed something to run fast, we needed--we
16 didn't want--and I'll get into that later--we needed
17 something that moved quick. Next slide please.

18 What we did with the communication aspect--and
19 after this page I'm going to show you a few examples--and
20 those examples on the next few pages are actually screen
21 grabs that I pulled out of GoldSim. We had an introductory
22 page to set the stage.

23 We gave an overview of geologic disposal and the
24 Yucca Mountain Project, a primer on performance assessment, a
25 primer on risk in the context of geologic disposal, and brief

1 summary of design. And the aim was to come up to a higher
2 audience level.

3 These are all hyperlinks to semi-interactive
4 presentations. In this example some of them call up your
5 Internet browser and run you through essentially a text
6 presentation. Some of them call up PowerPoint viewer where
7 we've written some presentations in PowerPoint and they dance
8 around and allow the user to read some text and what not.

9 We've also added results toward the top of the
10 model in a concise fashion and presented them on a component
11 by component basis, so they're all up front. If you want to
12 go look at the climate you can see a result on how the
13 climate's moving. If you want to see releases from the waste
14 package you can go in there and see the releases.

15 We also developed the subcomponent model structure,
16 the overall model, on the hierarchy to push the detail down,
17 as I talked about earlier. We pulled the importance up at
18 the top, mass transport and the general model structure, and
19 we put the detailed calculations that drive the model
20 underneath. They're still there; they're just lower; but
21 that allows the user to explore, browse the model at any
22 level they want. Next slide please.

23 These are just example screen grabs. This would
24 have been the introduction page, and it can be on the machine
25 back there. There is the overview, the risk discussion, the

1 PA summary, repository design and the all important how do
2 you navigate the software.

3 Some of them are, like I said, links to a
4 PowerPoint viewer that brings up a presentation. Some of
5 them will put up your Internet Explorer page and load up a
6 HTML file. Next slide please.

7 This shows an example of how we did the results
8 together. If you can imagine, this would be like in your
9 Windows Explorer, this would be a folder. You doubleclick on
10 that, you'll pull up another folder--it's difficult to see up
11 there--you doubleclick on this one about seepage, you jump
12 down to here, you see an element expression--let you pull up
13 a result--and you pull up a result; all self-contained within
14 the model, but it's just different layers to let--to pull it
15 where you want. Next please.

16 This is how the model was put together, and you can
17 see how GoldSim kind of works. It has a typical Windows
18 Explorer type thing, different browser view over here,
19 graphic view over here; and you can see--you can doubleclick
20 on this one, it'll pull you to that one, it'll pull you down
21 to the actual seepage model.

22 So we go from the repository level to the drift
23 seepage down to the model that puts together the seepage.
24 These are actually--further--you could further click on these
25 and go down and find more of the engine behind it. Next

1 please.

2 What else did we do for communication? We did
3 heavy documentation on the model. We included summary notes
4 with each graphic pane. We had hyperlinks to the detailed
5 explanatory text of how that model worked. In some areas
6 where we didn't do a whole lot of simplification, they
7 weren't all that detailed. They just kind of gave a little
8 summary about it.

9 Other areas they were pretty heavily detailed since
10 we did some pretty major changes, but in all instances we had
11 hyperlinks to the VA documentation. So if you were in the
12 software using this, you were looking at one of these
13 discussions, you could doubleclick and you'd be right to the
14 VA document if you had a connection to the Internet, and go
15 out and see the basis behind the model we put together.

16 We also had hyperlinks to what I call semi-
17 interactive discussions on the various subcomponents. These
18 were again done with PowerPoint viewer. They would discuss
19 each component, seepage, waste package degradation, waste
20 form degradation.

21 What we included--these, at a higher audience level
22 we aimed at, was what is this component, what is this piece?

23 How does this piece affect repository performance, so why do
24 you have it in the model itself? How we modeled it on the
25 project side; you know, what are you doing for modeling

1 seepage, what are you doing for modeling waste package
2 degradation? What are your results.

3 We did a summary in more detailed level. Again we
4 had hyperlinks to the TSPA-VA and supporting documentation in
5 those to take the reader to really where the basis is, the
6 real basis for the models we put together. We went on the
7 emphasis of how that component works rather than more why.
8 And we used the ability to link to the project's existing
9 documentation to allow the reader to really understand why.

10 This page gives an example of this, still another
11 grab. These here are the summary texts on the graphics pane
12 that attempt to explain what these two do. These are
13 actually expressions within GoldSim. They're mathematical
14 operators. You doubleclick on one of those, it'd pull up a
15 dialogue box that said "How am I going to set this
16 parameter?" These for example are essentially "if-then"
17 statements; if something, then this. And these texts kind of
18 tell what it is.

19 These are the two hyperlinks to supporting
20 documentation. One is the component model discussion of
21 PowerPoint viewer. One is the actual implementation into the
22 simplified model, and you can also add some notes that show
23 more detail on where the data source came from. So you can
24 do some heavy documentation within GoldSim to allow the
25 reader to see what's going on.

1 What I said was that Phase I was a get our feet
2 wet--what do we do, how do we structure. So we went through
3 the effort, we looked at it, we've shown it to people like
4 we're showing it here, eliciting feedback on where to go with
5 Phase II, and we've learned an awful lot.

6 So we're now embarking on our Phase II model
7 development and what are we doing with Phase II? First thing
8 --one thing we're doing is refining the model based solely on
9 TSPA-SR based solely on the analysis of model reports that
10 are being generated by the project. What we're doing this
11 for is to support traceability, transparency of the AMRs.
12 Can we reproduce the TSPA-SR calculations independently?

13 And that will--by doing so, we'll be able to
14 provide feedback to the authors, to say well we can't quite
15 do it this way, we don't understand what you did. And that
16 will, we feel, help in the transparency issue of the ultimate
17 AMR.

18 We may simplify multiple levels. We may bring it
19 up another level, and an idea we've had is build the
20 principal factor simplified model that maybe only works off
21 of seven or eight--the seven principal factors. These are
22 all just thoughts. We're still working with what we finally
23 want to end up doing. We need to refine the documentation of
24 how the simplified model works.

25 We're also having a parallel effort to enhance the

1 communication capabilities. We want to enhance the
2 subcomponent discussions based on the current understanding,
3 to be consistent with the PMRs. What the goal is, to bring
4 the PMR discussions up to another audience level, to get at
5 more people. Next please.

6 We're also investigating the what-if capability of
7 the user. The demonstration in the back has a pane that has
8 "What-If" on it. That pane's a future enhancement. The
9 what-if button on that model back there doesn't work today.
10 The intent is, or the hope is, to get it to work in the
11 future, and what we want to do is allow the user to set
12 uncertain parameters--if we don't figure out how many we
13 want--and execute the models.

14 The parameters will be set within a predefined
15 range, say the uncertainty bounds that are allowed in TSPA-
16 SR. The user can pick three or four parameters they want, of
17 their choice, and run the model. The remainder of the model
18 will be locked. We also have to investigate a way to lock
19 down the GoldSim so the user can't go in and change
20 parameters on their own, build their own model, do whatever,
21 if we decide to release this out to the masses, or the
22 public.

23 We also are aiming to develop an animated
24 simulation of repository performance. We're looking at how
25 the system works and illustrate the importance of various

1 components, what each component does--a little animation
2 simulation that we're aiming to run from biosphere or climate
3 all the way through how each one works, how they impact
4 performance; kind of give the flavor for how--you know, the
5 movie to support the text of how each component works.

6 We're also investigating doing a dynamic linking to
7 the model so if the user changes something up here they can
8 kind of see in an animation fashion what the end result of
9 changing that is. If you change infiltration you may change
10 the infiltration portion of the animation to show a little
11 different picture.

12 But this is, as I said, a work in progress. We're
13 just really initiating it right now, and we elicit feedback
14 from any on how best to proceed or best to communicate these
15 types of aspects. And with that, I'll close.

16 CRAIG: Thank you very much. I've got Richard and Jerry
17 and Priscilla. But I'm going to throw in one just because
18 I've got to take advantage of chairman's prerogative.

19 To what extent can I go--use your model to go back
20 and ask for first principals or fairly fundamental
21 understanding? For example, if I'm interested in corrosion
22 growing by a diffusion limited mechanism and I want to look
23 at the square root of time evolution, can I go in and get at
24 that kind--

25 NUTT: No.

1 CRAIG: --understanding?

2 NUTT: No. It's--we're taking the results of TSPA and
3 bringing it--essentially a higher level abstraction. So for
4 waste package degradation what we did in the Phase I and
5 probably what we'll end up doing with the second phase, is
6 the abstraction that'll go into the--the VA was a waste
7 package degradation, number of waste package failures as a
8 function of time. It's uncertain, so the number that fail
9 over certain time frame changes. We just took that data and
10 used it. We didn't--we abstracted their abstraction, per se,
11 and it brought up one more level. So first principals.

12 PARIZEK: Parizek, Board. A similar question, you would
13 not replace existing models--

14 NUTT: No.

15 PARIZEK: --being used. This is really to help edify
16 what's going on in those models and the findings.

17 NUTT: Exactly.

18 PARIZEK: So you still would use yours in conjunction
19 with theirs, the programs in other words?

20 NUTT: Yeah. The TSPA-SR will still be done, the same
21 group that did the VA, the same efforts. Ours is just a
22 companion to try help communicate. That's the real intent.
23 The added benefit is it helps us as technical reviewers to
24 understand what's going on. So there's no replacement, no.

25 COHON: Cohon, Board. So did you learn all this from

1 Dan Bullen?

2 NUTT: I taught myself.

3 COHON: Good answer.

4 NUTT: --Dan's support.

5 COHON: Good answer.

6 NUTT: He just pushed me in this direction.

7 COHON: You said that the audience would be one with
8 some technical background.

9 NUTT: Yeah.

10 COHON: Have you had interaction though with non-
11 technical members of the public?

12 NUTT: Have we had any reaction--no.

13 COHON: Any interaction with--

14 NUTT: No, we haven't.

15 COHON: Have you thought about how to make this sort of
16 a simplified, simplified model?

17 NUTT: Thought about it. I guess--sorry? Well that's
18 part what we're aiming at to get at with the animation, to
19 bring it up to that level. But also maybe with what I talked
20 about earlier, the simplified, simplified model that gets at
21 the seven principal factors that are controlling it.

22 And I realize that this kind of has to explain what
23 the principal factors are and why you got there; but, you
24 know, hopefully we can do it so a higher level audience can
25 understand it; but, you know, that opens up tremendous amount

1 of effort, and it probably should be done.

2 COHON: I understand that, but the potential here seems
3 to be terrific. Did you hear our session yesterday about
4 uncertainty?

5 NUTT: Um-hum.

6 COHON: Have you thought about how to communicate and
7 quantify uncertainty to the users of the next model?

8 NUTT: Thought about it. I don't know if we came to a
9 conclusion. I was very interested in what the discussions
10 were yesterday and took down quite a bit of notes. We have
11 to do it. We have to come up with a way.

12 COHON: I'm just probing to see if we can get some
13 advice here. I mean do you have some thoughts about it or is
14 it too soon yet?

15 NUTT: It's too soon.

16 COHON: Okay.

17 NUTT: Sorry.

18 COHON: That's fine. Thank you.

19 CRAIG: Priscilla.

20 NELSON: Nelson, Board. We all have good ideas, I'm
21 sure, how to extend any work that we hear about. And my
22 contribution is the possibility that in a time frame work
23 that's very important to people trying to understand the
24 project, to not only look out towards the 10,000 years and
25 beyond, but perhaps to have the capability of looking what's

1 going on during construction. In a time frame work that I'm
2 sure you could do and I'm sure that that's--many people will
3 want to link into that.

4 NUTT: Look at what's going on in terms of--

5 NELSON: I think--yes, and in terms of schedule and
6 cost, way of integrating that aspect. And it's not really
7 PA--

8 NUTT: Yeah.

9 NELSON: --but it goes along with that in a short time
10 scale. I think we've always had a question about perhaps
11 technically and policy-wise people are interested in the
12 10,000-year regulatory time. But there's also a wish to
13 really understand the time that's more comprehensible.

14 And this tool could pretty readily do that, both
15 from the standpoint of the what-ifs and leading on to the
16 longer term response, based on what happens short term during
17 the thermal pulse. So I just really encourage you to think
18 about that shorter term as well as the long term PA
19 prediction.

20 NUTT: Okay.

21 BULLEN: Bullen, Board. Dr. Nutt, I have a couple of
22 quick questions as a professor who gives students things like
23 this and says go tinker and find out what's wrong. You
24 mention that you could do sensitivity analyses and set the
25 number of iterations, and it took 100 seconds or whatever for

1 one iteration to do.

2 Have you got some way to control for example the
3 reasonable bounds of what you're doing? For example, if you
4 did one iteration and it was sampling on the tails, and it
5 ended up with a result that kind of skewed the results,
6 versus somebody who sat down and said okay, I'm going to run
7 100,000 iterations. What kind of range of results do you get
8 if you just do a few iterations versus 100,000 iterations or
9 100 iterations?

10 I guess what I'm trying to cover here is that you
11 don't want to give a misrepresentation of the capabilities if
12 it just happens to sample at the end of the tails and gives
13 you a number that looks like it's 200 millirems of release
14 versus if you did 100 realizations. That wouldn't be the
15 real number that you'd get. Is that a problem or you don't
16 foresee it to be one?

17 NUTT: Just in the number of sample sizes?

18 BULLEN: Yeah, sample sizes. I mean if I only did one
19 realization and came up with a number versus I did 100 or
20 1,000, people not understanding how Monte Carlo operates--

21 NUTT: Sure.

22 BULLEN: --might look and say okay, I did one
23 calculation and gosh, it's going to fail.

24 NUTT: I mean what we're talking about, I realize what
25 you're saying, but part of the problem with these complicated

1 things is when you start throwing the switch in Monte Carlo
2 it gets very difficult to explain what's going on. But it is
3 something we are going to address in this next phase of the
4 package.

5 But part of the deal with the interactive--one
6 thing I've been doing at the demonstrations is with the
7 model, just letting it sample single realizations. So I'm
8 hitting the button and letting it go, and it's going out and
9 sampling. So I can get a realization out in that tail, but,
10 you know, for the 100 versus 1,000 versus a million
11 realizations, yeah, you're right, you're just going to go
12 more into the tails. Hopefully eventually you can find the
13 stable mean and--

14 BULLEN: Actually you just led into something that I
15 wanted to ask about, was the stable mean. Because if you
16 just did one iteration, you know, you could end up in the
17 tails. But if you had a minimum that said okay, I've got to
18 do 500 iterations on this type of calculation--not that
19 you've locked out what they're doing--but you want to make
20 sure that what you do focuses them toward reality or what--
21 what the capabilities of the code might be as opposed to just
22 being the extremes.

23 Now obviously when you unlock it the people are
24 going to do exactly that. They're going to sample all the
25 extremes and come up with the worst case. And so you want to

1 have sort of a caveat that says if you do this, this is the
2 worst case scenario as opposed to uncertainty analysis, and
3 that's what people would do if you give them the capability
4 to use this.

5 NUTT: Yeah, what we're planning on doing, where I said
6 we're going to give them the ability to interactively select
7 a few parameters, we want to give them a conditional
8 probability. Okay, you pick these three parameters, here's
9 your probability of getting that. You might end up with a
10 high dose, but here's why. You picked something that's 10 to
11 the minus 7. So --

12 BULLEN: I think--

13 NUTT: --want to give that information and present the
14 result they come up with in terms of a likelihood of grabbing
15 that number.

16 BULLEN: Okay. Thank you.

17 RUNNELLS: I think, Dr. Nutt, that Professor--Runnells,
18 Board--I think Dr. Nutt--Professor Bullen will agree that you
19 passed your oral exam.

20 NUTT: Okay.

21 RUNNELLS: You didn't mess up. You addressed an issue
22 that has been of great interest to me ever since I joined the
23 Board a couple of years ago, and that is communication with
24 the public. And I want to compliment and compliment the DOE
25 on making this effort to communicate with the public. It has

1 all kinds of pitfalls; we all know that.

2 When you try to simplify a very complicated system
3 you may deceive people. But that in this case may be good.

4 They may--folks who try to use this may ask such wild
5 questions, come up with such wild answers, that it'll give
6 you good information on what to address. So I have a very
7 difficult time seeing a negative aspect of this.

8 I would urge you to try to, even at greater danger,
9 simplify further. But I would absolutely support the
10 continuation of this effort. The one thing that I would
11 suggest is on one of your early slides the target audience
12 was high school-something and above.

13 NUTT: High school graduates.

14 RUNNELLS: Yeah, let's make it the public, okay? I
15 think there are lots of high school graduates who will not be
16 able to handle this and there are lots of non-high school
17 graduates who will absolutely be able to handle it. So let's
18 direct it to the public--that's what its real purpose is.

19 But anyway, I think it's a great effort and more
20 power to you.

21 NUTT: Thank you.

22 COHON: My question is a follow up directly to Don's.
23 Can we have slide 9? Okay, I think the average member of the
24 public would understand almost nothing in that slide. And--
25 which is not your fault. I mean this is exactly the kind of

1 result that the program has produced, and keeps producing,
2 and for good reason. I mean there's a lot of information to
3 be contained and captured in one diagram like this.

4 But I think we don't do--this is the big We, not
5 you--but we don't do the public a service by presenting
6 results in this form. And I also think that we sell the
7 public short by believing there's no way to translate this
8 into something that is accessible to the public.

9 Yet it's essential. This is it. This is the
10 result. And I don't know if it's your job or not, but we
11 need someone to figure out how to make this understandable to
12 the public. You don't have to respond.

13 NUTT: --do with that. I won't disagree. Took me a
14 while to figure out what these things are.

15 CRAIG: Yeah, boy, is that a tough question. Other
16 questions from the Board? Staff?

17 In that case we have some extra time, and Jerry--
18 wait, wait, wait, I haven't relinquished my time to you yet.
19 You need the extra time.

20 SPEAKER: --if you can relinquish--

21 CRAIG: Well, I was going to have open session on the
22 panel, but if you'd like to go to the public, that's fine
23 with me.

24 SPEAKER: Let's give the public--

25 CRAIG: Go to the public.

1 COHON: My thanks to the speakers and to our wonderful
2 and stern chairman, Paul Craig, for his generosity in
3 yielding the time, the remaining 10 minutes in the session.

4 We have five speakers who have signed up, and I
5 want to give them as much time as we can, until about noon or
6 so. But that will mean I'll still have to monitor your time.

7 In the order that you signed up, we'll start with
8 Jerry Szymanski. (Pause) Maybe we won't. Is Jerry in the
9 room? We'll see if he rejoins us. Mr. McGowan, Tom McGowan.
10 I have this feeling that they figured we'd be right on time
11 at 11:35, and that they'll be back in.

12 Is Sally Devlin here?

13 DEVLIN: --sir.

14 COHON: Ms. Devlin. Welcome back.

15 DEVLIN: Mr. Cohon, Dr. Cohon, thank you so much, and
16 welcome again to Nevada. Thank everybody for coming, as
17 always, and participating. And of course I have to have some
18 fun, and where is Dr. Nutt? Where'd he go? There he is.

19 Mark, you did super. I hope you join Toastmasters.
20 You did wonderfully. Again on this public relations thing--
21 and I made a note, and that was I got Abe on six acronyms in
22 a sentence, and the one I note on yours is RIP. RIP to me
23 means rest in peace. So you need a glossary. And it must be
24 in English. As I say, it really is kind of fun.

25 When there was one little thing on waste package

1 failure, and radionuclides release rates--where are you?
2 Mark, come up here so I can look at you. But I don't
3 understand when you talk radionuclides release rates. What
4 are they? I'm the public punching in my doubleclicks. What
5 are they? What do you save the explanation for?

6 This TSPA-VA relation is supposed to be for the
7 public. How are you helping the public understand what all
8 the stuff is? I understand the Monte Carlo and the iterate
9 and all the rest; I did my bit yesterday. But this is very
10 important because just as Dr. Bullen, everybody, said, they--
11 the public doesn't understand it. RIP is rest in peace, and
12 you put that stuff in there it will rest the peace.

13 Now the other question I have to ask is where is
14 this going, what does it cost to go, and so forth? Remember
15 we have nothing in Pahrump. We have two computers, period,
16 for the public. If you're lucky to get on it. We have
17 nothing. Now how can the public get this information?

18 COHON: Did you understand the question about release?

19 NUTT: Yes.

20 COHON: Okay.

21 NUTT: I'll try.

22 DEVLIN: You got my RIP?

23 NUTT: Okay. Mark Nutt, Golder Associates. RIP stands
24 originally for the repository integration program that was
25 developed a while ago, so it's an acronym for a program. It

1 just ironically has the same acronym as what you mentioned.

2 For radionuclide release, what I meant was by--in
3 the eventual failure or degradation of waste packages, water
4 gets into them, waste dissolves, how much gets out. That was
5 our aspect, was try to come up with a way to communicate to
6 yourself how much gets out, what's the importance of it
7 getting out and how does it relate to the downstream dose.

8 DEVLIN: But again, what is my topic? Transportation.

9 NUTT: Sure.

10 DEVLIN: I don't want it to get out before it gets in.
11 You got the picture--thank you.

12 COHON: Did you understand the answer though, Ms.
13 Devlin, about release? Okay.

14 DEVLIN: Oh--sure I did. But you're hearing what I'm
15 saying, and it is not--

16 COHON: Okay.

17 DEVLIN: The other thing I'd like to question, on the
18 drip shield design you want 10,000 segments, cost \$200,000
19 apiece, that's \$3 billion. Now those are good numbers. What
20 do they mean? Absolutely nothing. Where are they
21 fabricated, how much do they cost to be fabricated, where do
22 they--where are they built? How are they transported? Does
23 this \$3 billion--is the gentleman here?

24 SPEAKER: He's coming.

25 DEVLIN: Okay, let's get some real costs in here,

1 because you know I'm going to bring this up in the next
2 public comment. Who built them?

3 DOERING: Tom Doering with the M&O. The fabricator
4 hasn't been decided yet. The cost includes total labor of
5 fabrication. Shipment is not included in that cost because
6 again the fabricator has not been awarded yet. And the point
7 of closure right now is right around 2060, so we don't think
8 we're going to award the contract for a while.

9 DEVLIN: 2060, good number; very, very, very nice
10 number. Thank you very much. But you understand I'm the
11 public. You say \$3 billion, to me what is \$3 billion? I say
12 on the canisters, \$50-60 billion. On transportation a
13 trillion.

14 I mean, you know, there are no roads in Nevada,
15 there are no railroads in Nevada. We're talking no purchase,
16 no this, no that. You're talking a trillion dollars. The
17 public's got to be made aware of this, and it's very scary.

18 And I thank you very much for that, because these
19 are questions the public is going to ask you, Mark, and
20 they're going to ask you, you know; so long time. And my
21 feeling is I love Bo. I've been with you people for so many
22 years, and I hope y'all keep your \$100 million a year jobs
23 and model and model and model at the door.

24 But the--thank you, thank you, Abe. But I can't
25 understand one other thing, and that is--and I'll just end

1 with this--how can you talk post-closure--you hear the
2 marvelous word closure--when you don't know the basis for the
3 natural analogs and the this and the that? Maybe my
4 terminology for analog is different than your analog. To me
5 an analog is Cigar Lake up in Canada, and that's depleted
6 uranium in case and clay that's 100 trillion-billion years
7 old.

8 What we've got here is a leaky faucet full of
9 fractures, fissures and faults. And so I don't know--I want
10 definition on this analog thing. But the worst thing is
11 again getting back on the metals and the things you're using,
12 carbon steel, Alloy 22, titanium 7, and that is there is not
13 one thing in that entire 14 pounds of VA or EIS on this that
14 mentions my bugs. And I am insulted because MCI has to be
15 mentioned.

16 There must be something about microbes being
17 tested. Livermore has proved microbes are in the rock,
18 they're going to eat the rock. You better have some
19 protection because the rock's going to fall down, it's going
20 to disintegrate. And then you're going to have the bugs for
21 the rocks, you're going to have the bugs eating the Alloy,
22 that love nickel, you're going to have the rad-eating bugs;
23 you're going to have bugs up your bugs. And I think there
24 should be far more discussion on this.

25 Thank you.

1 COHON: Thank you, Ms. Devlin. Tom McGowan. You have
2 someone who volunteered, I understand. Dr. Wong? You can
3 stand anywhere you want.

4 SPEAKER: Just so you talk into a microphone.

5 MCGOWAN: I indicate the answer to Sally's questions are
6 readily available. My understanding is they were worked out
7 --those figures were worked out by constipated mathematician,
8 he worked it out with a pencil. No, it wasn't Dr. Banbot
9 (phonetic).

10 BULLEN: Check please.

11 MCGOWAN: Check please, right. Thank you. Security.
12 My name is Tom McGowan. That's excellent, thank you. You're
13 hired. Las Vegas, Nevada.

14 In -- public comment I'll address the previously
15 referenced alternative to underground storage. And I'll ask
16 the chairman to enlist assistive services. Dr. Jeffrey Wong
17 I understand has manual dexterity to manage the overheard
18 viewgraphs. The instruction is on the bottom. It's not in
19 code. It's rather understandable.

20 As Dr. Wong prepares to assist, I wish to say that
21 notwithstanding variable sections to the contrary, I hold the
22 chairman, the Board, the DOE, OCRWM, YMPO, all meeting
23 attendant persons in the highest personal and professional
24 respect, admiration and esteem, as uniquely qualified and
25 dedicated proponents of their respective agencies and

1 entities in service to the genuine best public interest.

2 And I appreciate your forbearance as receptive of
3 the following presentation and proposal by an unlettered
4 member of the local public. I should qualify that with one
5 negative--leave something tending negative, which you might
6 expect of me from time to time. And that is that I'm
7 currently convinced that this is your best to date, and
8 that's what more or less concerns me a little bit. I think
9 you're capable of far greater things, and that's what I will
10 begin to address here and now.

11 In -- and in premise the issue of high level
12 nuclear waste was long since previously departed from the
13 realm of responsiveness to manageable control by traditional
14 means in terms of policy and process, and has entered a
15 greater dimensional realm wherein it is solely responsive to
16 address manageable control by a neo-policy and process
17 paradigm comprised of voluntary reform-based attainment to a
18 higher idealized standard of human spiritual quality
19 effectiveness in terms of ethics, morality, reason,
20 integrity, and above all, conscience; from which realm they
21 will never again return. So we can forget about the past.
22 We have a new millennium ahead of us, a new way of enhanced
23 thinking, let's call it.

24 First viewgraph please, Dr. Wong. And thank you,
25 sir. Let's first have upper tier. That neo-paradigm has a

1 geometry which is neither pre-middle nor rectangular, but is
2 spherical. And thereas omniparticipant, omni-interactive,
3 omni-intercommunicative, interenhancive and interreinforcive.

4 There ascertained to context as an optimum viable integer
5 whose hold is greater than the sum of its parts and whose
6 output efficiency is greater than a unity, hence what you
7 obtain is a virtual human laser, notwithstanding the
8 particulars in dimensional scale. It'll work as well at any
9 size and scope.

10 Quality and integrity are interchangeable and
11 intercoincident, dual aspects of one and the same integer
12 whose ensured effectiveness is expressly contingent upon the
13 total quality, integrity of the integer; inclusive of each
14 and all of its component elements--hopefully like you. And
15 there's a major difference between total quality and total
16 quality management, since while TQM extends from the -- apex
17 in descending order to middle management, as you see
18 indicated. But not beyond the subtending broad based rostrum
19 of rank and file.

20 Total quality is permeated and ubiquitous
21 throughout the entire infrastructure, which slowly thereas
22 and thereby obtains as comprehensively integralized, ergo
23 enhanced, as attained to optimum integral viability or OIV.
24 Within -- both flexibility and resiliency impervious to any
25 law externally imposed stimuli.

1 In that enhanced state -- equation E equal MC
2 squared can be juxtaposed and expressed as QVE equals QVMC
3 squared, wherein and where by the quality and volume of the
4 human energy yield is equal to the quality and volume of the
5 coherently integralized human mass times the speed of light
6 squared. And thereas generative of a historic non-precedent
7 volume of utmost attainable quality, productivity at a
8 fraction of the cost incurred by persistence in the deemed
9 traditional policy and process paradigms and concomitant
10 geometric configurations.

11 It occurs to be the universe works something like
12 that. I don't know who designed it in particular, -- who we
13 always refer to as a supreme being, or supreme infinite
14 knowledge. But it wasn't one of us--that's obvious. We
15 wouldn't have been done with it yet.

16 That enhanced state is expendable--expandable on
17 the national and international scale to comprise a crash
18 program of universally dedicated context, spare purpose, and
19 then 10. Prerequisite essential and categorically imperative
20 to the assured effect address and remediation of high level
21 nuclear waste, completely and permanently at a substantial
22 profit in terms of both tangible and intangible
23 omniparticipation based reciprocal benefits.

24 May we have the second viewgraph please, Dr. Wong?
25 Thank you. Want me to give you three minutes? What do you

1 do here exactly? Thank you. The lower--the -- depicts the
2 geometric acceleration and expansion of the integer over
3 time, obtained through context as exponential arc tending
4 toward infinity. I believe in the upper one is the--excuse
5 me--the linear progression of the total quality enhanced
6 integer configured as concentric flaring horns evolving,
7 expanding and accelerating in continuum while available range
8 of energy -- options with no constraints or impedance
9 impacted upon the direction or rate of acceleration. I think
10 I got--had that backwards for you, but it comes out the same
11 way regardless.

12 The neo-paradigm abhors underground storage and is
13 comprised of a composite of surface based high level nuclear
14 waste storage and robust canisters at decentralized generator
15 sites, pending one way transport to not more than 500 miles
16 distant regional federal sites, pursuant to 4-9s (phonetic)
17 drastic reduction, transmutation and separation of the most
18 egregious and long-lived radionuclides via limited range of
19 optimum accelerated driven transportation technology systems,
20 san (phonetic) inclusive of an ultimate save--molten salt
21 reactor in a self-amortizing expanding national and
22 international program ensuing over a minimum term of 50 years
23 and extending to 100 years or more.

24 Highly toxic residual byproduct will be in
25 vitrified and -- pending substantial stabilization, while

1 shorter-lived radionuclides will stabilize within 200 to 300
2 years under closely monitored security and canister integrity
3 maintenance and preservation. Entire process will be subject
4 to strict military discipline, responsible oversight,
5 stewardship management and control, initial funding of
6 approximately \$250 million for limited test and survey and
7 refinement operations; will expand to full scale operations
8 under the electrical power generated, profits plow back, to
9 approximately \$250 to \$500 billion nationally and worldwide.

10 That profits all applicable sources including
11 tangential business development, employment opportunities,
12 amplifier affects will accrue to approximately 4 trillion
13 over the enduring term, approximately 50 to 100 years; and
14 equating to a long term cost ranging from nominal to nil to
15 de minimis--which means it's free. All you've got to do is
16 apply yourself.

17 The transformation of egregiously impactive
18 liability into a valuable asset will surmount all -- barriers
19 and will invoke a waiting list of ready, willing and able
20 qualified applicants pursuant to participation on an ensured
21 reciprocal benefits, recipients basis.

22 Additional benefits of neo-policy and process
23 paradigm include both nuclear and conventional arms
24 reduction, nuclear non-proliferation, global solidarity
25 preclusive of organized terrorism, increased international

1 trade and mutual cooperation and understanding, and
2 commensurate peace progress and coexistence in perpetuity.

3 And some reminders, problems are opportunities, not
4 use of a problem, the problem is solved. The principal
5 guidelines is the spirit of genuine community based on the
6 realization that none of us is smarter than all of us
7 combined, and as Bucky Fuller said, unity is plural. I'm
8 quite sure it is.

9 In conclusion e pluribus unum, (inaudible) self-
10 mutual ennoblement shall be our legacy instead of failure and
11 infamy. I'll adjust the third viewgraph in delineation of
12 nuclear waste dedicated secular priesthood in the next public
13 comment segment, and I wish to thank the chairman and Dr.
14 Wong and members of the Board.

15 I have one question. There was a speaker today
16 called Jean Cline on fluid inclusions. I don't see a
17 presentation of hers on the table. Is there one available of
18 her report?

19 SPEAKER: Apparently not.

20 MCGOWAN: Apparently not? But she's on the agenda.

21 SPEAKER: She'll be speaking.

22 MCGOWAN: Oh, but she doesn't have a copy for the
23 public? Oh, I see. Well when can we get one of those?

24 COHON: Dr. Cline, will you be making something
25 available in writing, or could you?

1 CLINE: I had not anticipated that, but I could perhaps
2 put--

3 COHON: Okay.

4 CLINE: --something together.

5 SPEAKER: Your work is very important.

6 CLINE: Thank you.

7 COHON: Good.

8 SPEAKER: We'll get a copy.

9 COHON: Well, talk to Dr. Cline, okay. You will hear
10 her today.

11 MCGOWAN: Okay.

12 COHON: There won't be anything in writing today.

13 MCGOWAN: --have that on the record that you did not
14 bring a copy of--

15 COHON: I think it is. Thank you Mr. McGowan. We're
16 going to have to hook you up with Dr. Nutt so we can get the
17 simplified version. Check with us.

18 Brian Marshall from the U. S. Geological Survey.

19 MARSHALL: Brian Marshall, USGS. I just wanted to
20 inform the full Board that there are ongoing studies being
21 performed by the USGS that relate to seepage, that were
22 inadvertently left out from Bo Bodvarsson's presentation this
23 morning. We have data on secondary minerals which indicate
24 that factors other than the capillary barrier may control
25 seepage.

1 As you may recall from Bo's presentation this
2 morning, he emphasized the capillary barrier and seepage
3 threshold in his presentation. We have a record of past
4 seepage at Yucca Mountain extending millions of years into
5 the past. Seepage of water has been recorded in deposits of
6 secondary calcite and opal within open cavities and
7 fractures.

8 To the extent these deposits are an analog for
9 seepage, they do not support the importance of a seepage
10 threshold for three reasons, and I will list these three
11 reasons in order from least significant to most significant.

12 So beginning with number 3, the surroundings of the
13 cavities are heterogeneous and include many fractures and
14 complex shapes. Number 2, capillary barrier theory states
15 that there should be a correlation of seepage with cavity
16 size. However, there is no correlation between the amount
17 of calcite and the size of the cavity in which it occurs.

18 And finally, the most important or most easily
19 understood reason is that adjacent cavities with similar
20 characteristics often display very different amounts of
21 calcite, suggesting that seepage is not controlled primarily
22 by the capillary barrier.

23 COHON: Before you leave the mike, I thought I heard Bo
24 say that the depositions you're talking about, if they were
25 deposited continuously, would suggest a very--I don't want to

1 use the wrong words--slow seepage rate or very -- yeah, you
2 know what I mean--

3 MARSHALL: Yes.

4 COHON: So do you disagree with that?

5 MARSHALL: No, I do not, but I was not--I didn't want to
6 emphasize the amounts of water that can be interpreted based
7 on the seepage records. I merely wanted to emphasize some of
8 the characteristics of the deposits which bear on the
9 presence or absence of a seepage threshold.

10 COHON: So this goes more to the way in which seepage
11 happened, influences on seepage rather than the amount.

12 MARSHALL: Right. Stated another way, other factors
13 which I don't believe are fully incorporated into the UZ site
14 scale model include things such as flow focusing, film flow,
15 et cetera. I can't think of the other one at the moment.

16 COHON: Okay. Well, thank you very much for that
17 contribution. We appreciate it.

18 Atef Elzeflawy from Agua Viva.

19 ELZEFLAWY: Oh, -- just fine.

20 COHON: That's good. I did something right this
21 morning.

22 ELZEFLAWY: If you had any problem with my name, just
23 call me Bob. I learned that 30 years ago when I came to the
24 United States, became a citizen. One of the things I like
25 the most about reading is to read autobiographies of people,

1 and also autobiography of some--some workers and so on.

2 So I have a good idea about some of your
3 background, the Board members, and some of the other people
4 who work here. But I need to give you about probably 10
5 seconds of my background. Born in Egypt, finished my first
6 Ph.D degree there, University of Alexandria, and I came here
7 in 1970, went to Gainesville and got another Ph.D in soil
8 science and hydrogeology; and went to University of Illinois
9 as assistant professor, met Chester Cease (phonetic), who was
10 the chairman, who got me in trouble in this program.

11 He said "Well, you know a lot of things about soil,
12 and let's go to Hanford." He was a member of ACRS. I don't
13 know if some of you know the ACRS of the NRC at the time or
14 not. These are the board like you guys are elected by good
15 people, the best in the country, to look at the safety of the
16 nuclear power plants.

17 Chester Cease got me involved in that. We went to
18 Hanford and we discovered that their nuclear waste, quote,
19 unquote, tanks are leaking. And that's how I got involved
20 into this program. And then in 1980 I moved from University
21 of Illinois, came here to work for the Desert Research
22 Institute and the Department of Energy gave me a nice free
23 boot--I have them since then, still on my feet--the only free
24 gift I got from any agency in the United States or any
25 person.

1 And last Christmas my brother came, that I haven't
2 seen him for about 25 years, came and visit me and he stopped
3 by for two weeks and when he left he gave me keys. And I got
4 a brand new Volvo for free. And so thank you for the free
5 time that I have here. I don't get any money anymore. I've
6 got to take off my hat in respect to your program and so on.

7 But I like to say couple things, because I've got
8 to go. I was planning to have some thoughts this afternoon
9 and maybe written a piece of paper or so. But in 1980--I
10 think in '81 before the Act was passed I was visiting
11 Washington, D.C. and visiting Congress of the United States.

12 And they were debating in some committees the Nuclear Waste
13 Policy Act.

14 The Nuclear Waste Policy Act was so nice to hear
15 because it reminds me with my daughters I pledge allegiance
16 to the flag, da-da-da-da-da, justice for all. You live in
17 the United States and you know sometimes that justice is not
18 for all. Sometimes justice is for some, and that's the sad
19 part of what I see today. Here it is 20 years later or
20 almost 19 later about the Act.

21 The Act back then was fair enough to say okay, we
22 will have--if the first repository will be in the west, the
23 second will be in the east. Well back then was fair. About
24 a year later I got involved and I got to be somebody who
25 commended my name to work on the unsaturated zone with NRC as

1 a consultant.

2 And I remember a fellow assigned here again, Bill
3 Dudley; we were talking about drilling for the unsaturated
4 zone. And the USGS was going to be drilling and after about
5 15 minutes of aggravating the speaker he said "We're going to
6 be drilling with drilling mud." I said "You don't drill
7 with drilling mud to assess the unsaturated zone."
8 Unsaturated zone doesn't have a whole lot of water, so you
9 don't want to add a lot of water to assess what's in the
10 water--what's in the rock before.

11 So--and then I left there, worked for the NRC for
12 about three years, and I think in 10 CRF 60 was a fair
13 document. At the time the EPA rules were fair document. The
14 Department of Energy program in general was going into a fair
15 situation until we got Senator Johnson, who gave us this
16 Nevada Bill.

17 The whole thing behind it was that the federal
18 government did not have the money to afford to take care of
19 three repositories, one in Texas, one in Hanford and one in
20 Yucca Mountain. So the Congress with the wisdom declared,
21 okay, Yucca Mountain only. Well Nevada didn't like that, and
22 I know that Yucca Mountain might not really be good site in
23 terms of at least the hydrogeology, since I know a little bit
24 about hydrogeology and unsaturated zone and so on.

25 And then the Congress after that enacted or added

1 the Nuclear Waste Transportation Research--I mean Technical
2 Review Board. I said ho, this is good because we're going to
3 get some fair minded people to give the DOE some direction,
4 because their train is heading for MPL. Anybody know what's
5 MPL here in this Board? It's called Mars Polar Lander, that
6 we heard about a couple weeks ago.

7 The train at the time, technically speaking,
8 because of 10 CFR 60; I knew that deciding guidelines and da-
9 da-da-da-da. It's not going to be--in fairness the site is
10 not going to be--or is not going to be passing through in
11 terms of the guidelines as a good site from the geology point
12 of view.

13 Now I got to know the Board members, I attended
14 their meeting, I still read everything you guys publish. I
15 still read everything the DOE published, sometimes in details
16 and sometimes not in detail. But here's the situation: after
17 all those years now the Department of Energy is saying that
18 the engineers will make a waste package last for 1,000 years.

19 Back in the NRC we were laughing at them in 1983 and '85
20 that they were talking about waste package that's going to
21 last for 300 years.

22 So I think somehow, somewhere this Board needs to
23 stand up and say something with regard to this Yucca Mountain
24 thing. If you have a problem with that waste, maybe you need
25 to send it to Egypt where they have three pyramids lasted for

1 5,000 years, where I came from. You can see it there.

2 But I don't think coming here--and I can argue
3 technical things until I kill you, like Martin Luther did
4 back with the Catholic Church, and I'll talk to you in
5 geochemistry and hydrology and engineering and all that, but
6 that's not my point here.

7 My point here is that I like to see the Board stop
8 from taking that train to become MPL and assess the situation
9 technically, fair minded, using all your good brains. It's
10 hard to talk to people when you want to really talk to their
11 brains.

12 And so I think from what I see during the last 10
13 years, almost 10 years, of the nuclear board, that at least
14 I'm glad to see that what I said in 1982, one millimeter a
15 year in the unsaturated zone, that wasn't one millimeter.
16 The DOE said one millimeter, one millimeter. And now we know
17 that it's about 15 or 16. The USGS didn't listen to the
18 simple analysis, and they spend \$20, \$30 million a year, and
19 here it 15, 16 years later they came back a full circle, and
20 say Oh, that's about 20 or 15 millimeter. And I saw it in
21 the Board meeting sometime about two years ago or so.

22 Somehow, somewhere I got the privilege to see Ward
23 Valley. By a phone call I got from the Secretary of Interior
24 and Barbara Boxer and Diane Feinstein of California. They
25 asked me what do you think about this program, to prove that

1 Ward Valley would be a low level site?

2 I said after I looked at all this two-inch document
3 I'll tell you this, you can do all that and 10 years of
4 research from now, and after you collect all these data, it's
5 not going to be very conclusive either to a scientist or
6 either to the public that this site is quote, unquote, safe.

7 So the Secretary of Energy and the two senators sank the
8 site.

9 Somehow, somewhere you've got to address--I've seen
10 remember Pat Domenico passing through and all the others,
11 and couple other professors that went through the Board.
12 It's an honor to be a member of this Board. I know what that
13 honor is. I already had one in 1976 from the Transportation
14 Research Board. But what I'm saying is again, to summarize
15 this--this is probably the first time and the last time I
16 will speak to you guys--but you need to stop and look at the
17 program and see what the DOE is doing for the program.

18 All these technical details might not happen. One
19 problem with the toss-back, they used to call it, the
20 assessment on the performance assessment, all those computer
21 things, all that is going to give you some data and all of a
22 sudden you are not going to see the faults. And then after
23 you get the waste in and you put it, 50 years later, oh, we
24 were stupid back then. We didn't really see that.

25 So simplicity is--one of you guys said something

1 about simplicity is the name of the game. And just
2 yesterday, to give you an example to finish up with, the
3 Department of Energy and Yucca Mountain, putting--not Yucca
4 Mountain but in Nevada Test Site--spend about \$150 million on
5 a model, computer model, mud flow and flow paths and all
6 that, to come up with one single flow path with regard to the
7 water and where the tritium is going.

8 You know what? My--not mine, mine and some other
9 guys 17 years ago met, was exact -- and you put them one next
10 to the other, what did we do for \$120 million aside from what
11 did we learn from spending \$120 million? You know we learned
12 nothing except we gave people jobs for five years, to spend
13 \$120 million.

14 What I like to see, maybe a recommendation from the
15 Board that hey, now we--the country is rich, and we gave the
16 State of Nevada Yucca Mountain only because of the money.
17 How about going back and opening that law and say well, let
18 us see what Hanford is going to look like, let us see what
19 Basalt is going to look like in Texas. So somehow, somewhere
20 your reports to the Congress are so beautiful and so nice to
21 read, but they don't highlight the problems right up front.
22 Watch out. You're heading for MPL.

23 So thank you for your time and I appreciate your
24 effort. I'll still stay with you in the back seat, but
25 somehow, somewhere the Board needs to go into maybe technical

1 session or maybe a closed session--whatever it is--to address
2 that point. So thanks.

3 COHON: Thank you, Dr. Elzeflawy. Dr. Szymanski will be
4 speaking in this evening's public comment period, so that
5 concludes the public comment period for today--for this
6 morning, I should say, and concludes our session for this
7 morning.

8 We'll now break for lunch and reconvene at 1:00.
9 Thank you very much.

10 (Whereupon a lunch recess was taken.)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1

2

3

4

5

A F T E R N O O N S E S S I O N

6

COHON: Please take your seats. Thank you. Our afternoon session is devoted to an update on the project's scientific programs. Chairing this session will be Board member Don Runnells. Don?

10

RUNNELLS: Welcome to the afternoon session. This is the one we've all been waiting for. I personally can hardly contain my excitement. We're going to hear about the update of the science, and we're going to hear about analogs, things that the Board has great interest in and we've often asked about. And we're looking forward to this afternoon's presentations.

17

Let's get started, not waste any more time with my chatter. Our first speaker is Mark Peters. Mark has a Ph.D in geological sciences from the University of Chicago. Sorry I reverted back to Colorado--Ph.D in physical sciences from University of Chicago--and he's responsible for the technical integration science construction and design organizations. He's going to give us an update, an overview of the scientific programs that are ongoing. Mark?

25

PETERS: Thank you very much. It's great to be back

1 talking to the Board. I think you've gotten used to--I
2 usually come in armed with quite a stack of paper. This is
3 no different. There is a lot of material. Attempt is to try
4 to cover the entire testing program and give you an overview
5 of where we're at with most of our testing.

6 You've heard a lot about some stuff that we're
7 doing in the ESF and cross drift related seepage. There is
8 actually some duplication, so a couple my slides Bo showed
9 this morning, so that will help with the time. So I'll
10 probably go over those relatively quickly and spend more time
11 on the things that you haven't seen as of yet in this
12 meeting.

13 In terms of overview I'm going to talk about ESF.
14 I've tied, for the purposes of the overview, all of the
15 testing programs and the different factors of the repository
16 safety strategy. You heard an overview on the RSS this
17 morning, principal factors and non-principal factors. The
18 overview slide simply has those factors and then the testing
19 program that feeds those factors underneath it.

20 So in terms of the unsaturated zone, including
21 seepage, talk a little bit briefly about Alcove 1, some work
22 that we're doing in the PTN and fault zone, a small fault
23 zone within Alcove 4, briefly talk about the ESF niches that
24 Bo mentioned this morning. Again those niches are the middle
25 non-lithophysal unit in the ESF, which makes up only the

1 upper part of the potential repository horizon.

2 Get into the cross drift, give you a detailed
3 update on where we're at with the construction and drilling,
4 and the testing in there. It'll compliment somewhat what Bo
5 had already talked about this morning.

6 A little bit more on what we're observing in the
7 bulkhead studies in the cross drift, some on the fracture
8 mineral studies, and the Chlorine 36 studies in the ECRB and
9 the cross drift; a little update on Chlorine 36 validation
10 fluid inclusions, and then what we're doing in the area of
11 overall stratigraphy.

12 Switching gears to coupled processes, an update on
13 the drift scale test, temperature, evolution, what the
14 moisture's doing, and looking at some of the comparisons to
15 predictions. Over to the saturated zone, very briefly
16 discuss how we're integrating Nye County results into the DOE
17 program; refer mainly to the poster sessions sitting over on
18 the side wall, which everybody's had an opportunity to
19 hopefully look at.

20 And then a couple bullets on the flow and transport
21 model improvements we've made for the SR versus what we had
22 in VA. And then talk some about primarily the pilot scale
23 testing at the Atlas Facility in north Las Vegas, and then
24 some discussion, a broad overview of where we're at with
25 waste package materials testing. Not a lot of detail there.

1 If we want to talk more about the detail, I'll take some and
2 Dave Stahl I know is in the audience to help with some of the
3 really gory details if we get into that. Next slide please.

4 Just to refresh your memory, you've seen a lot of
5 this this morning. We're going to start with the ESF
6 studies. Here's a map view of the ESF, the U-shaped tunnel
7 with the potential repository block and the cross drift
8 running across. We'll talk about Alcove 1 here in the Tiva
9 Canyon, Alcove 4 in the lower part of the non-welded,
10 Paintbrush non-welded PTn; again Alcove 5 where we're doing
11 our drift scale test, and then ESF niches. Next slide
12 please.

13 More detail of the layout of the cross drift. I am
14 going to spend quite a bit of time on the cross drift. This
15 is just a variation on a theme of what the map that was shown
16 in Bo's presentation this morning. In the cross drift what
17 was referred to as the cross drift tracer test, I believe in
18 that presentation, is actually the crossover alcove. That's
19 the drift to drift test; from Alcove 8 the crossover alcove
20 to niche 3 and the ESF underneath. So that's where we're
21 getting at the scaling effects. That's about 18 to 20 meters
22 below--of separation.

23 Niche 5 where we're doing--process of constructing
24 and doing some drilling for our seepage tests. That's in the
25 lower lithophysal, the lower lithophysal in the cross drift,

1 pick up right around approximately in here. The lower lith
2 is exposed from this part of the cross drift basically all
3 the way close to the fault; pretty close to the fault.

4 And then again we have bulkheads installed. One
5 bulkhead is about 1750 meters from the start of the cross
6 drift. The other one is just before the Solitario Canyon
7 fault here about 2500 meters from the opening. And those
8 have been closed since June, and we'll talk a little bit
9 about what we observed there. And we just had an entry last
10 week and I know there's been some discussion about what we
11 saw there, and Bo alluded to that this morning. Next slide
12 please.

13 Starting with Alcove 1, this is just again an
14 update. Bo did talk about that quite a bit this morning and
15 how he's using that in his model. Phase 1, you've seen this
16 before, but reminder--we're introducing water at the surface
17 and then monitoring how much water actually seeps into the
18 opening.

19 In Phase 1, which was really finished up about a
20 year go, we applied 60,000 gallons of water. It took two
21 months, approximately two months to get water to seep into
22 the alcove after about half of that water was applied, and
23 then since that time we ended up seeing about 10 percent of
24 the water enter the opening. Next slide please.

25 Phase 2 was started about a year ago now, little

1 under a year ago, and the statistics are contained in the
2 bullets. We put a lot more water in phase 2. We are varying
3 the application rates at the surface, and we saw seepage in
4 the alcove much faster. Not surprising given that the
5 fractures were probably still relatively saturated from the
6 phase 1 tests that we saw break through earlier.

7 We're seeing about the same amount of water enter
8 the opening, but we're also varying the concentration of the
9 lithium bromide tracer. This is just an illustration of
10 alcove 1, again the infiltration plot is about 30 meters from
11 the surface to the crown of alcove 1, and the infiltration
12 plot at the surface is larger than the plan of the alcove
13 itself.

14 This gets at varying the concentration of the
15 bromide. We are varying the concentration of lithium bromide
16 in the water, and this is a series of predictions as well as
17 observations. The red squares are actually bromide
18 concentration as a function of time. The three curves are--
19 the green curve is if we would stop injecting the tracer at
20 the surface.

21 As of a couple weeks ago we actually have
22 continued, and we're planning on currently thinking about
23 stopping the tracer, end of this month; and then we'll
24 continue to monitor the test through the year to gather
25 enough information for--to be used in the UZ flow and

1 transport model for SR. This is just showing this simple 1D
2 prediction actually does a pretty good job of predicting the
3 breakthrough of bromide and the change of concentration with
4 time.

5 Alcove 4, if you remember Alcove 4 sits at the base
6 in the ESF, at the bottom of the Paintbrush non-welded. And
7 in Alcove 4 we have a test in the back of the alcove. We've
8 drilled a slot, an opening in the lower part of the block,
9 and we're actually interested in testing what is a small
10 normal fault in the PTn at that location.

11 So what we're doing is we're injecting water in
12 some of these high holes and then looking for breakthrough of
13 the water along the fault and into the opening. Preliminary
14 data, but what we've seen is not actually dripping into the
15 opening but a damp spot.

16 So early on when we started infiltrating along the
17 fault there was a lot of wetting of the matrix. But we have
18 seen breakthrough in the sense that it's damp now at the
19 fault, but again we haven't put enough water in to get any
20 dripping.

21 We are able to get some information on flow
22 velocity along the fault, and all that's being--this is very
23 preliminary at this point so we don't want to say a whole lot
24 more than that. But it will be incorporated into our
25 understanding of how the fault's acting in the PTn in our

1 models.

2 In the ESF niches, again these are the seepage
3 niches that Bo spent a lot of time on this morning. In the
4 middle non-lithophysal unit niches the work that Berkeley's
5 done on seepage is really in niches 2, 3 and 4. Niche 2 has
6 been complete for quite a while now.

7 Niche 3, although there's been a lot of comments--
8 and this was again alluded to this morning, from the peer
9 review panels as well as yourself and other oversight bodies
10 --about the importance of doing seepage tests at what would
11 be considered ambient humidities.

12 So at niche 3 there was a lot of attempt to do the
13 seepage tests under relatively high humidity conditions to
14 evaluate how the wetting history influences the seepage, to
15 really get at what we expect during--after a cool down,
16 during the majority of performance period.

17 And then also there's been a lot of comments on
18 having--we should understand better the details of the
19 fracture distribution, so we have in niche 4, I've got an
20 example of a detailed fracture map that's been done by the
21 Berkeley PIs.

22 Niche 3, the testing is basically complete for
23 niche 3 itself. Again niche 3 is going to be used in the
24 crossover alcove test as well. And niche 4 testing, air-K is
25 ongoing and is actually complete and they're in the process

1 of getting ready to either--start the seepage phase.

2 Plot of the relative humidity and temperature
3 inside niche 3 with the test durations at the top, just to
4 show that we did make an attempt here to actually conduct
5 these tests under relatively relative humidity conditions;
6 and just shows the different tests that we did in terms of
7 liquid release in the niche.

8 Example of a fracture map that we've done for the
9 ceiling of niche 4. These upper boreholes are where the
10 liquid release tests were conducted, so this would be the
11 opening, this is the entrance to the niche, here's the niche
12 itself; so we've done extensive fracture mapping of the
13 ceiling to correlate with the air-K and what we see in terms
14 of liquid release.

15 Switching gears now to the cross drift, still
16 focusing on the UZ flow and primarily seepage. The crossover
17 alcove, the cross drift tracer test--however you want to call
18 it--sits right there as the cross drift goes over the top of
19 the ESF. This is more of a field update on where we're at.

20 We originally were going to excavate the alcove
21 with drill and blast techniques, but we actually found as we
22 were going into the upper lithophysal there--and it was
23 actually going pretty slow--so we made a decision to
24 terminate that and we're now using an Alpine miner to
25 excavate that opening.

1 So we moved away from that and actually moved to
2 niche 5, and now we're back, so the Alpine's actually
3 underground today working. It's been excavating on alcove 8
4 now since last week.

5 We finished drilling the boreholes that are going
6 to go up from niche 3, and now like I mentioned, we're
7 excavating with the Alpine and the testing will start in the
8 spring time frame in alcove 8, the alcove 8 niche 3 test.

9 Niche 5, about halfway down the cross drift, about
10 1600 meters down the cross drift, again looking at seepage
11 processes, but this time in the lower lithophysal which we
12 have not tested in the underground. We completed drilling--
13 it was mentioned this morning we're not only looking at
14 seepage but the effects of excavation on air permeability, et
15 cetera.

16 We drilled some boreholes, pre-excavation, to do
17 some air permeability. Those have been drilled and we've
18 actually done the testing. There was a part of that shown
19 this morning. That's duplicated here. I'll probably skim
20 over that relatively quickly.

21 We're in niche 5; we've excavated the first phase
22 of niche 5, and that will become clear when I show the
23 diagram; and now we're drilling the Phase I boreholes, and
24 the testing again is--we're pushing real hard to have as much
25 information as we can for the site recommendation.

1 Schematic of alcove 8, niche 3 test, again about 20
2 meters of distance here. Upper lithophysal unit here, and
3 then we transition into the middle non-lithophysal as you get
4 down closer to niche 3. But you again have these up
5 boreholes and the down boreholes and the infiltration part
6 will be in the back end of alcove 8.

7 So we're excavating right now and we're probably
8 right about here in terms of excavation progress; and we
9 should done with that sometime in March on the current
10 schedule.

11 Schematic of niche 5--when I talked about Phase I
12 excavation, if you remember the niches from the ESF, they
13 were much shorter. The actually niche--test niche, if you
14 want to make a parallel to the ESF--is back here. We
15 excavated an access drift. That's complete; we finished that
16 just before--or just after Christmas holiday.

17 And so what we're drilling right now is these pre-
18 niche excavation boreholes, so we'll drill those holes, do
19 air permeability testing, and then come in and excavate this
20 Phase II niche, and then do the actual liquid release out of
21 some of these same boreholes.

22 Terms of moisture monitoring work, I've also tied
23 in some of the air-K work that was discussed this morning,
24 and the bulkhead studies. Just to summarize what was
25 discussed this morning, we have done some air permeability--

1 Lawrence Berkeley has done some air permeability in the lower
2 lith and some of those boreholes--excuse me, I'm jumping
3 ahead on myself.

4 Let's talk about water potential first. We've
5 discussed in the past when the USGS has installed a series of
6 instruments in the cross drift and they were showing
7 relatively wet water potentials and uniform, and one of the
8 questions that we had to ask ourselves is was that--how much
9 of that was due to the instruments that were being used.

10 So we went in and installed in some of the holes in
11 the cross drift behind the bulkhead thermocouple
12 psychrometers to compare to what we were getting from the
13 USGS heat dissipation probes. And we're actually finding
14 that they're giving us a very similar answer, which is a
15 positive thing; so there's not some bias in terms of
16 instrumentation.

17 Second big point, and this was discussed t his
18 morning, is the preliminary air-K in the lower lith suggests
19 that we may be an order of magnitude or a little more more
20 permeable than the middle non-, based on limited testing and
21 two boreholes in the lower lith and a lot of testing in the
22 middle non-. But we're continuing to do the air-K not only
23 in the niche but the systematic air-K that was discussed this
24 morning to better nail that down.

25 This gets back to the water potential issues, or

1 data. You've seen this before. It's not terribly up to date
2 but it gets the point. This is water potential in bars, so
3 as we go in this direction we're getting drier, so this is
4 wetter. The data to notice at first glance is this data
5 across the bottom. It's a time series as a function of
6 station within the cross drift. You can see that we had
7 relatively high "wet" and uniform water potentials.
8 Then with time we started getting a spiky pattern. A lot of
9 that's due to the drying, due to the ongoing ventilation in
10 the tunnel.

11 Sub-plot, again a function of time, water potential
12 on the y-axis, dry in this direction. Of the two different
13 instruments that we're using to measure water potential in
14 the tunnel. The USGS heat dissipation probes were installed
15 wet, so there's a very wet number and it takes a while to
16 equilibrate.

17 The psychrometers were installed dry and they also
18 have to equilibrate, but you can see that they're converging
19 on a very similar answer in terms of water potential. This
20 is just an example of the kind of data that we're getting,
21 but that's a very important measurement in terms of water
22 potentials used for the UZ flow model.

23 This was shown this morning, so I won't dwell on
24 it, but this gets at the preliminary air permeability
25 measurements in the lower lith, shown on the top with the

1 geometric mean, as compared to what we're seeing in the
2 middle non-lith based on measurements in the ESF niches.

3 Bulkheads, again we have two bulkheads in the cross
4 drift, one about halfway down and one just before the fault
5 zone. We instrument so it isolates basically half of the
6 lower lith is exposed in the cross drift, the lower non-lith,
7 and then the fault. And then you run into the TBM trailing
8 gear, for those who have been down there.

9 We've instrumented--we had a lot of instruments in
10 place before we installed the bulkheads, and we're basically
11 measuring the rewetting and continue to monitor water
12 potential behind the bulkheads. We are entering their
13 periodically. We had an entry in September and we just went
14 in, what, a couple Thursdays ago.

15 We're seeing continuing of the rewetting, no
16 terrible surprise. The bulkheads are actually sealing up
17 pretty well. And then we obviously don't ventilate during
18 those times. And we're also seeing no apparent evidence of
19 seepage. Saw some interesting things in the last entrance,
20 but it appears to be condensation phenomena and not dripping
21 from the rock; and that was again discussed briefly this
22 morning.

23 Just an example of what we're seeing on some of the
24 probes from a rewetting perspective. This is a next of heat
25 dissipation probes at different depths, anywhere from 30

1 centimeters to 200 centimeters into the rock--two meters into
2 the rock. And it shows--again this is water potential, so
3 we're wetting in this direction, and this is as a function of
4 time.

5 The bulkheads were closed right there, so at
6 shallow depths we're seeing an end to the drying phenomena
7 and a rewetting; whereas intermediate depths, we're getting a
8 leveling off. Deeper in the rock we're still seeing a slight
9 drying, but we expect all this to start turning to rewetting
10 here very shortly.

11 Just in bullets, makes some of the points that I've
12 already made. We are going in and doing some neutron
13 logging, active neutron logging when we go in for the
14 entries. And it indicates the bulkheads have stopped the
15 dryout and that we're wetting at shallow depths.

16 We're seeing that the air temperature is actually
17 higher than the rock temperature, and that may influence some
18 of the additional dryout; and we are seeing some variability
19 in rock temperatures. And that spiky pattern that was shown
20 in the water potential diagram as a function of construction
21 station may very well have something to do with evaporation
22 along fractures. Some of the units have longer through
23 growing fractures. And then we're not getting apparent
24 evaporation in the matrix adjacent to those fractures.

25 Estimates of water potential between the two

1 bulkheads are in the minus half to minus one and a half bar
2 range, and if you go beyond the inner bulkhead towards the
3 fault zone they're in a very similar range.

4 Over to looking at the fracture minerals, you know,
5 we've done--USGS has done a lot of work looking at fracture
6 minerals to get a long term percolation flux, concentrating
7 on the ESF. There's a program now in the cross drift to do
8 similar work.

9 One of the exciting things that's happened is, if
10 you remember, they were doing bulk techniques. They were
11 taking small samples, they could, and analyzing using
12 standard techniques, concentration techniques and then using
13 standard mass spectrometry.

14 They've--cooperative effort with Stanford, they're
15 now using an ion probe which can sample a much smaller
16 volume, and trying to get traverses across grains. And
17 they've done some preliminary work there, and across to opal
18 grains that are on the outer--coating the outer part of the
19 fracture. And they're showing some very interesting data in
20 terms of those traverses, but they're getting very good
21 resolution at the scale of tens of microns.

22 The encouraging thing is that the data are
23 consistent with what we're getting--we were getting
24 conventionally. The deposition rates, they're consistent
25 with more of a continuous deposition model that Zell Peterman

1 and his co-workers have had for, what, two, three years now.

2 And also it's consistent with deposition rates on the order
3 of millimeters per million years; so very slow deposition,
4 but appears to be consistent with continuous deposition.

5 Another way we're addressing percolation flux, and
6 flux in the repository horizon, is continuing our Chlorine
7 36, Chloride studies in the cross drift. This is distinct
8 from the Chlorine 36 validation, which I'll get to in a
9 minute. This is the work going on at Los Alamos, June
10 Fabryka Martin--you're familiar with her.

11 There was a presentation that I believe Paul gave
12 at the Beatty meeting on this in detail. Terms of the--in
13 the way of an update, we have done--we did see some bomb-
14 pulse levels in some of the locations within the cross drift
15 associated with faults.

16 And we've done some replicate samples now, and in
17 fact taken separate samples from the same general area; and
18 again--and we've replicated those bomb-pulse levels. But
19 we've gone in and done a significant amount of additional
20 systematic sampling.

21 Remember the systematic sampling in the ESF; all of
22 our samples that showed bomb-pulse levels were featured-
23 based, meaning we went and saw a feature like a fracture set
24 or a fault and went for it. The systematic samples in the
25 cross drift still are falling within the range of background.

1 That's in the way of an update.

2 Still on Chlorine 36 but not a Chlorine 36
3 validation, we've also had a program--remember we've seen
4 several locations in the ESF primarily associated with
5 faults, where we saw bomb-pulse levels.

6 So the DOE has a program where we've gone into two
7 of those locations in the ESF, Sundance Fault and the
8 Drillhole Wash structure, and we've drilled some boreholes.
9 And USGS, Lawrence Livermore, working with Los Alamos, are
10 trying to validate the occurrence of that bomb-pulse Chlorine
11 36.

12 We're also doing U series analyses, tritium
13 analyses and I believe also technetium 99 analyses to try to
14 get an integrated set to tell us what we're really seeing in
15 terms of bomb-pulse and what it means for flow.

16 Preliminarily the data we've seen, disequilibrium
17 in the U series from the Sundance Fault, which indicates that
18 long term water/rock interaction, this is similar to some of
19 the other U series work that's been done in the ESF. We've
20 looked at 11 samples from the Sundance Fault for tritium and
21 found no tritium anomalies.

22 But can't say a whole lot about how it all fits
23 together probably for a couple weeks anyway, until we get the
24 Chlorine 36 analyses from some of those same samples. So
25 still a work in progress. We should be able to say more as

1 time passes here in the next three to four months.

2 Fluid inclusions, I will not spend hardly any time
3 on this because you're going to hear a lot of fluid
4 inclusions in a couple presentations from Jean and Bob. We
5 are involved--the DOE is involved in a cooperative study with
6 UNLV and the State to evaluate the paleohydrology of Yucca
7 Mountain and what the fluid inclusions are telling us.

8 For the DOE part, the USGS has some new fluid
9 inclusion equipment installed, and we've got 50 samples that
10 they're going to look at in great detail. Nothing in the way
11 of hard conclusions as of yet, but the interactions are
12 healthy and there's a lot of good interaction going on in
13 that study.

14 Stratigraphy--you know, our mapping of the
15 underground and our mapping at the surface has really come to
16 a close, but we're in the process now of really thinking
17 about how we can document all that information and validate
18 it and use it technically in a QA arena.

19 So we're working extensively on what we--what the
20 USGS terms stratigraphic workbooks, and that's where we're
21 basically documenting, and again validating and integrating,
22 all with the stratigraphic data from the surface based
23 boreholes. And it's being used primarily as the
24 documentation for the geologic framework model for the
25 integrated site model.

1 It's confirming our contact picks, it's giving us
2 some idea of the resolution and the acceptable window for al
3 the contacts. It's doing a data verification function for
4 the contact picks, and basically you have a workbook for each
5 borehole. And it's providing us an integrated, again, QA
6 documented database for use in the SR when it comes to
7 lithostratigraphy.

8 Okay, moving away from ambient UZ flow, seepage,
9 now over to coupled processes, the drift scale test--you're
10 all familiar with the drift scale test. It's conducted in
11 alcove 5, and that's where we're evaluating the coupled
12 processes at the field scale. The test is in the middle non-
13 lithophysal unit.

14 It was discussed briefly this morning that there
15 are plans to conduct a smaller test, but nonetheless a
16 thermal test, in the lower lithophysal; and that's again in
17 planning stage for--and current plan will be fielded next
18 year, next fiscal year.

19 In the way of an update on the temperature, we're
20 still running at the same power, 80 percent on the canister
21 heaters, 100 percent on the wing heaters that we've been
22 running with since the start of the test. We've been
23 running--it was two years early December, so pushing 26
24 months here. The plan is to continue to heat the rock for
25 the four years as planned.

1 We're targeting 200 C at the drift wall, and we're
2 getting there, right around 190 Celsius. And as we approach
3 that we will turn back the heat to sort of ramp up to that
4 goal and maintain that for the remainder of the four years.

5 This is just--you've seen plots like this before.
6 This is two holes drilled within the heated drift, horizontal
7 holes drilled above the plane of the wing heaters. This is
8 the center line of the heated drift, this is a time series
9 for two of those boreholes. And remember that the wing
10 heaters are segmented. The outer wing heaters are higher
11 power than the inner wing heaters, so that's why you get this
12 hump profile.

13 We did see some flattening, some conductive type
14 effects at local boiling, 96 C, and the rocks continued to
15 heat. You can see in the vicinity of the wing heaters we're
16 well up--we're approaching 240 C in some cases. This is just
17 a time series; this is as of day 700, so this is back in the
18 fall, in that time frame.

19 Terms of measurements versus simulations, this is
20 just measurements for one of the--for a series of boreholes
21 after 21 months of heating. So this isn't a time series;
22 this is at 21 months of heating, one array of boreholes.
23 Remember the arrays of boreholes in the heated drift, some
24 are horizontal, there are some down holes and there's also
25 some up holes.

1 And then on the right is a dual permeability
2 simulation prediction for what we thought we'd see at that
3 same time, and broadly speaking we're doing well with
4 temperature, terms of predicting temperature.

5 Now what about moisture? This is similar to plots
6 that you've seen. There was a detailed presentation at the
7 Beatty meeting on the drift scale test. This is electrical
8 resistivity tomography results, and that's where we're
9 looking at moisture distribution as a function of time.

10 This is a tomograph for back in the September
11 frame, and what you're comparing here in colors is the
12 saturation at the time it was measured in September versus
13 what we measured in the baseline. So you're looking at a
14 difference.

15 So red areas tend to be areas where we're seeing
16 drying, whereas the more blue areas tend to be areas that
17 have either maintained their saturation or actually wetting.
18 So we're getting, as could be expected, drying around the
19 heated drift, but we are seeing what appear to be wetting
20 underneath the drift as well as up in this corner here.

21 Following along those lines, looking at--as you
22 well know we've done predictions, extensive predictions.
23 This is just another--this is a blowup of one of the previous
24 tomographs for resistivity for a plane intersecting the
25 heated drift right about midway down the heated drift.

1 Color scheme is the same again, drying around the
2 wing heaters and around the drift where the canister heaters
3 are influencing, and then wetting up in this corner. And
4 this is just a prediction, again a dual permeability
5 simulation, showing that we would expect to see drying--no
6 surprise--and expect to see some wetting on each side of the
7 heated drift because of the influence of the fractures in the
8 middle non-lithophysal unit.

9 Geochemistry, we're primarily out of the holes
10 drilled from the observation drift. We're analyzing--we're
11 collecting a lot of water. We're also analyzing gas
12 chemistry as a function of time. These are two of the
13 boreholes from the access observation drift.

14 This is work that's been done by Lawrence Berkeley,
15 both the field work in terms of collecting the gas, analyzing
16 the gas composition, and also the predictive modeling. Eric
17 Sonenthal at Berkeley's been doing that a lot, in conjunction
18 with Yvonne Tsang's hydrologic modeling.

19 This is again two boreholes. The data--the actual
20 data--this is a time series, and CO2 concentration in parts
21 per million. The data is actually shown in the--what appear
22 in this particular thing to be kind of like brown diamonds.
23 The measurements are right here for each of the boreholes,
24 and then we're also showing the predictions. This is a dual
25 permeability prediction, so we'll have predictions for CO2

1 concentration in the fractures and also in the matrix.

2 You can see we've done a relatively good job of
3 predicting the CO2 concentrations, and I also know for a fact
4 we came back in and we've taken additional gas analyses, and
5 we're seeing a rise in the CO2 concentrations consistent with
6 what we're seeing in the model. So we were seeing a leveling
7 off here, but now we've seen another rise in the CO2
8 concentrations.

9 On to the saturated zone. I heard a presentation
10 from Nye County yesterday, and I won't dwell on that again.
11 There is poster session on the DOE--the data that we're using
12 at DOE to--from the Nye County work, to incorporate into our
13 saturated zone work.

14 This is just a list of the kinds of things that
15 we're using in our models, and will be used and documented
16 for the SR: lithologic data, some of the water level data,
17 pump testing. There are some very interesting preliminary
18 results on sorption analyses from the alluvium, for some of
19 the real bad players from our perspective, Neptunium, Iodine
20 and Technetium, and that's actually over on that poster.

21 But we're seeing Kds, non-zero Kds, relatively high
22 Kds, which can provide a lot of--it's a good thing, could be
23 good for performance in terms of flow through the alluvium
24 and sorption of some of the key radionuclides. We're looking
25 at hydrochemistry for calibrating the flow field, and there's

1 quite an extensive discussion of that. And then Eh/pH.

2 Terms of the process model capability, we've done a
3 lot of improving of our capability within the saturated zone
4 and transport model based on we had in VA and how we're
5 evolving towards SR. Some of the--a couple examples of how
6 we've improved that capability, we can now handle any source
7 size, and we're also not having problems with grid size
8 impacting the source size or introducing any kind of
9 numerical dispersion.

10 Al Attabar is actually--I believe he might--he's
11 here still, and if there's any detailed questions he can walk
12 you through that. He's the modeler. But at any rate.

13 Okay, quick--that was a quick one through the
14 natural system. Now let's go to the engineered barrier.

15 We've talked before about the Atlas testing, where
16 we're doing pilot scale testing for engineered barrier
17 options, and we're evaluating different various engineered
18 barrier configurations, capillary barriers, Richard's
19 Barriers, standard backfield, drip shields which are more
20 timely considering where we've evolved here in the past
21 couple months, and looking at combinations of those barriers;
22 and not only at ambient conditions, but we're also conducting
23 some elevated temperature tests right now at Atlas.

24 They're of course providing data for model
25 evaluation for the EBS models. I'm going to focus on the

1 pilot scale testing. We do have--we are doing a significant
2 amount of properties testing at the Atlas facility, but I
3 won't talk too much about that today.

4 In the way of an update, you've heard a lot about
5 canister 1. That was a Richard's Barrier test that we
6 conducted at ambient temperature. That's still going. We're
7 just about to complete that test. Canister 2 was a single
8 layer backfill test, at ambient temperature again. Canister
9 3, which is probably of interest today, was a drip shield
10 test where we had a crushed tuff invert. That was done at
11 elevated temperatures. That's just been completed recently.

12 And we're just in the process of starting up our
13 fourth canister, and that's a drip shield with a similar
14 invert, but this time there's a backfill over top of the drip
15 shield, again at elevated temperature.

16 So to walk through an update on what we saw on the
17 capillary barrier tests, the Richard's Barrier tests, again
18 this is a scale about a meter and a half in diameter. We
19 have a clear plastic tube that's kind of like the mock waste
20 canister, a coarse with a fine backfill over top, and then
21 we're dripping a line infiltration system along the crown of
22 the test canister.

23 Then we have load cells, so we're going for
24 complete water balance; and we have wicks at the side that
25 are wicking the water so that we can again constrain the

1 water balance in the system. The focus of these tests to
2 date has really been on where's the water going, trying to
3 understand how the water's flowing through the EBS system.

4 This was presented at the last meeting. Just to
5 remind you again, canister 1, we're looking at effectiveness
6 of that capillary barrier to divert water. We've seen that a
7 large amount, greater than 97 percent, of the water has been
8 diverted by that barrier.

9 We've seen water break through at the wicks placed
10 here, and also some breakthrough at the bottom of the
11 canister. And we're seeing some wetting within the course.
12 We think that's primarily due to the presence of fines in the
13 coarse material. So there's some wicking going on in the
14 fine material.

15 We're also doing flow visualization tests at
16 Sandia, laboratory tests to complement the pilot scale tests
17 in Las Vegas. We've constructed some mimic cells at a
18 similar scale, and again to evaluate our conceptual models
19 and also to complement what we're doing in terms of the pilot
20 scale tests.

21 In this particular example, this is again a
22 Richard's Barrier course with a fine material here, and
23 infiltrating from the top of the cell. We put no wicks on
24 the right side, but we have wicks on the left side. And the
25 next slide is going to show a time sequence.

1 The blue is showing the infiltration of the water
2 into the system, and this basically shows the water balance--
3 but let's concentrate on the time sequence, four days through
4 82 days. Again this is the fine material overlying the
5 coarse material with kind of the mock waste canister there
6 more in the center.

7 Can see the water is pretty effectively diverted by
8 the barrier, but we're seeing some wetting within the coarse,
9 same coarse material. We think again that's the influence of
10 the fines, probably wicking water into the coarse material.

11 You can see the influence of the wicks. You're
12 getting--basically the wicks are taking the water on the left
13 side, but we're getting damming up on the right side because
14 there's no wicks; and so we're wetting significantly within
15 the coarse material on the right side of the test canister.
16 Next slide please.

17 Couple points about the testing that we're doing
18 there on the capillary barrier. It's different than a
19 typical capillary barrier. Again we were infiltrating on a
20 line along the crown of the test canister, so it's single
21 infiltration point along the line versus uniform
22 infiltration, which is more standard for a capillary barrier
23 type barrier.

24 We also have a fine boundary versus a long
25 boundary--we're calling here a wick boundary condition. The

1 canister's finite, a drip would be finite. And that requires
2 that we use not simple analytical solutions like you get in
3 the Ross equation for capillary barriers, but we're doing
4 simulations using TOUGH 2 to predict this test and then
5 analyze the results.

6 Just to bring home the point, the typical capillary
7 barrier has an extended coarse/fine interface and also
8 uniform infiltration along the top, whereas an EBS barrier
9 has a single point infiltration with an impermeable boundary
10 at the sides. That just drives home the point that we really
11 have to model these things differently than you do a standard
12 capillary barrier.

13 So again, the Richard's Barrier test is very close
14 to being complete. Canister 2, we looked at a plain
15 backfill. That was the material used for the plain backfill
16 was very--was the same material that was used for the coarse
17 layer in canister 1.

18 In the way of observations, we were really focusing
19 in canister 2 on how well we could deal with the water
20 balance. We were also looking at the performance of a plain
21 backfill, similar layout, clear acrylic tube, single layer
22 backfill, ambient temperatures. We observed water at the top
23 of the package very quickly, three days, and saw water at the
24 drainage wicks in seven days. So breakthrough very quickly.

25 We were able to do a pretty good water balance, but

1 for the backfill that we used, those properties, it basically
2 does nothing in the way of providing any hydrologic
3 protection to the simulated waste package.

4 We did go in in canister 2 and do some post-test
5 characterization. This is that acrylic tube. Here's the
6 outer surface of the test canister. We went in and shoveled
7 out the backfill very carefully. We were using dye in the
8 backfill, so we were able to sort of qualitatively map where
9 the fluid had gone during the test.

10 There's some lines drawn to lead your eye--I guess
11 you have to take my word for it--but we were able to see the
12 dye, and we say that basically the water moved down by
13 gravity and spread around the waste package, and it remained
14 relatively dry on the edges of the canister.

15 So in the way of some conclusions from the first
16 two tests, we can do some simple pretest modeling and it
17 gives reasonable results for the performance of the Richard's
18 Barrier. The capillary barrier does divert the water toward
19 the drift wall.

20 The standard backfill, at least for the properties
21 that we had, has basically no diversion capability. And of
22 course, you know, we're different than a standard barrier and
23 the performance is dependent upon the boundary condition to a
24 large extent, and also how you infiltrate on top of the
25 barrier itself.

1 Moving to the drip shield concepts, which are of
2 course more appropriate to where we're going with our design
3 concepts right now, this is a layout of test canister 3,
4 similar scale, one and a half meters in diameter. We had a
5 simulated waste canister; this time we're heating. And then
6 we have a drip shield. It's a stainless steel drip shield,
7 but a drip shield, but a drip shield about similar dimensions
8 over top of the waste canister.

9 We heated with a single element heater in the waste
10 canister, and we also had guard heaters on the outside of the
11 canister. We tried to--we maintain the surface of the waste
12 canister at 80 C and the surface of the entire test canister
13 at 60 C, 60 degrees C.

14 First we went in and just heated up, just within
15 there, just with the waste package, then we emplaced the drip
16 shield and heated for longer; and then we started dripping at
17 very high rates, again from the crown. I should also mention
18 there was a crushed tuff invert, but no backfill. Next.

19 This is just pictures of the same thing that I just
20 described, the waste canister with the single element heater,
21 and then the drip shield with the crushed invert, crushed
22 tuff invert.

23 Preliminary results, first we didn't see any
24 dripping from the inner surface of the drip shield. That's
25 the big take home. There was different thoughts on that, but

1 we didn't see any significant condensation. It was contacted
2 by moisture, but that was primarily by leaking through the
3 drip shield joint. But drips did not form and drip onto the
4 waste canister. So the surface didn't come in contact with
5 moisture, we didn't see a lot of salt deposits on the outer
6 surface of the drip shield in the invert.

7 We had--Livermore had installed coupons in various
8 parts of the test. Carbon steel coupons on the outer surface
9 were visibly corroded. These are all visual observations to
10 this point. There's a lot more information on that I believe
11 right now, but I'm not prepared to speak to that in detail.

12 We had titanium coupons on the outer surface and
13 those appeared to have an oxide film. And then the coupons
14 between the drip shield and the waste package showed no
15 obvious change, no obvious develop of film or corrosion.

16 Before I move to waste package, canister 4, I don't
17 have anything in the presentation. That's in the process of
18 just being completed and up and going. The backfill part is
19 I believe going to start today or tomorrow, or it might have
20 already started. There we again got similar configuration of
21 canister 3, but we're going to put a backfill over top of the
22 drip shield.

23 So I think if you have an opportunity to go over
24 and see that you'll be able to hear more and next meeting
25 we'll have some results on that test. And then further

1 testing of variations on that theme with drip shield
2 concepts, probably changing the temperature regime that we're
3 at, et cetera, is sort of the longer range plan.

4 Waste package materials testing, again, objective
5 as you all well know is to confirm--look at corrosion rates
6 and corrosion mechanisms for our candidate materials, for the
7 waste package and the drip shield. We're doing both long
8 term and short term testing and looking at a range of water
9 chemistries, J-13, concentrated J-13, et cetera.

10 We're looking at all the different corrosion type
11 mechanisms and all the important things that might drive
12 corrosion in our system, cyclic polarization, hydrogen
13 pickup, the influence of microbes, development of passive
14 films on some of the candidate materials like Alloy 22 and
15 titanium, using atomic force microscope. Because some of
16 these things take so long to form we're using some very
17 detailed microstructural examination with the microscope to
18 try to get at the mechanisms and the rates of some of these
19 films being formed.

20 Stress corrosion cracking I know is of a lot of
21 interest. We continue to look at that, and hydrogen induced
22 cracking in the titanium alloys. And looking at welded
23 samples to get at induction annealing and laser peening of
24 samples. And then of course looking at long term thermal
25 stability of Alloy 22 for development of intermetallic phases

1 and how that affects the stability of Alloy 22 over time.

2 And that was really fast, but I made it through.

3 RUNNELLS: Thank you, Mark. You did indeed make it
4 through, and you made it through right on time--maybe a
5 little to spare. It'll give us a chance for questions,
6 beginning with Paul.

7 CRAIG: Okay, I just would like a little background.
8 There were a lot of actors involved in your presentation.
9 You've got a lot of people here. Wonder if you could quickly
10 go through and tell us who is actually doing the various
11 pieces of work--

12 PETERS: You bet.

13 CRAIG: --you're describing.

14 PETERS: You bet. You bet. I'll just go through from
15 the start, okay? Alcove 1, USGS, Alan Flint, PI. Is that
16 the kind of detail that you're looking for?

17 CRAIG: Yeah, the organization--

18 PETERS: USGS. Alcove 4, Lawrence Berkeley. Joe Wang
19 is a good contact on that. ESF niches, Lawrence Berkeley,
20 Rob Trautz is the PI for that. Help me out--cross drift,
21 Alcove 8, that's a combined effort between USGS and Lawrence
22 Berkeley. Again Al Flint, Joe Wang are good--good guys on
23 that.

24 Niche 5, Rob Trautz, Lawrence Berkeley. Systematic
25 hydrologic characterization, that I didn't talk about but Bo

1 alluded to, that's Berkeley again, looking at air-K, Yvonne
2 Tsang's going to be heavily involved in that. Bulkhead
3 studies, USGS, and Berkeley, same players. Those guys are
4 busy. Flint and Wang are very busy.

5 Alcove 5, everybody. All the laboratories, the
6 U. S. Geological Survey, they're all involved. What have I
7 left out? Saturated zone, integration of Nye County results,
8 USGS is heavily involved. Rick Spangler, stratigraphy. Al
9 Attabar is a good contact overall for that. He's the PMR
10 lead for the saturated zone.

11 Los Alamos is heavily involved in the sorption
12 analysis and the detailed modeling. Where am I at--EBS
13 testing, Sandia. Livermore is heavily involved in the
14 modeling component. Sandia does a lot of the day to day
15 conducting of the tests. Waste package, as you know, is
16 Livermore. Dave Stahl is a good contact, Joe Farmer.

17 That get it all?

18 CRAIG: Good. Thank you.

19 RUNNELLS: Does that answer your question, Paul?

20 CRAIG: Yeah.

21 RUNNELLS: Okay. Question for Priscilla Nelson.

22 NELSON: You can ask me one, but I'll ask you one first.
23 Nelson, Board. Just a couple that will probably be short.

24 First in the bulkheaded section, one of the reasons
25 I always thought to do this was to see if there was air

1 exchange. What kind of mass permeability and flux of air
2 could we expect? Do you get any handle on any air exchange
3 into, out of the bulkhead--

4 PETERS: From the ventilated--

5 NELSON: Through the rock mass, one would assume, rather
6 than--assuming the bulkhead itself is not leaking.

7 PETERS: They seem to be sealing--I think I know what
8 you're getting at--they're sealing up the opening pretty
9 well, so we're still seeing some evidence of drying. That
10 may not necessarily be from the opening and leaking around
11 the bulkhead in some way. That may be actually flow in the
12 rock itself; you get all the time.

13 NELSON: I wonder if there is a way to get a handle on
14 that because that would be interesting information for the
15 passive condition--

16 PETERS: Right. I think we're probably collecting data
17 that will allow us to get a handle on that, but I'm not sure
18 how much we're thinking about it from that perspective. You
19 know, the evidence that we're seeing of drying and continued
20 drying in some areas and along fractures, I think there's
21 probably something there. It's a good point.

22 NELSON: Yeah, and particularly because you are getting
23 focused drying along--

24 PETERS: Um-hum.

25 NELSON: --indicated were fractures--

1 PETERS: Yeah.

2 NELSON: --which might indicate that there is some air
3 flux--

4 PETERS: Right.

5 NELSON: --through the fractures. It should be
6 interesting from the modeling perspective.

7 PETERS: Yes.

8 NELSON: Okay, let me ask you about this. We saw it
9 referred to a couple of times this morning, but the idea of
10 rock mass stability and how that affects seepage.

11 PETERS: Um-hum.

12 NELSON: And there was discussion about perhaps running
13 a thermal test--

14 PETERS: Um-hum.

15 NELSON: --in the cross drift. Is there any plan to
16 really evaluate how the thermal pulse may affect rock mass
17 stability? I'm just trying to get a handle on whether there
18 is an impact of a hot repository on stability.

19 PETERS: Of the opening. That's one of the things that
20 we're--in terms of mechanical, one of the things that we
21 think we really want to go after is the M/H coupling,
22 mechanical/hydrologic coupling in the rock. Let me talk--I
23 know that's off the line of your question; let me talk about
24 that first.

25 We'd like--you know, we think that it's second,

1 third, fourth order effect. Bo I think alluded to that this
2 morning in terms of the M/H coupling. We want to go after
3 that in the lower lith. In terms of looking at the stability
4 of the opening we would like to look at--we're looking at
5 ways to try to design and test to get at seepage under
6 thermal conditions, and I mean--what else would we do except
7 for just monitor the opening and see how it performs under
8 thermal? I mean we're doing that in the drift scale test
9 now. I guess--

10 NELSON: I guess there could be some focus measurements
11 across discontinuities to see if there is any--

12 PETERS: And--

13 NELSON: --in the general condition. The reason I bring
14 that up is because it appears to be one of the things that's
15 involved in design--

16 PETERS: Yeah.

17 NELSON: --of the--what do they call it--the canisters--

18 PETERS: Right.

19 NELSON: --the drip shields. And with the probabilistic
20 approach going on to really characterize the rock mass now,
21 to try to understand how frequent fallouts might occur, the
22 thermal impact would be important--

23 PETERS: Right.

24 NELSON: --in trying to evaluate cold versus hot
25 repository benefits.

1 PETERS: We'll absolutely do that in MPBX type
2 arrangement. We've done stuff like that in the drift scale
3 test, but I could see where you could put the extensometers
4 or something, or strain gauges across individual fractures--

5 NELSON: --opening, yes.

6 PETERS: Yeah, to look for that. We did that in a large
7 block actually, and so that's certainly something we should
8 consider as we go into this lower lith test, yeah.

9 NELSON: But in that compressed environment--

10 PETERS: Yeah.

11 NELSON: --interesting to see what happened. Do I have
12 time for one more?

13 RUNNELLS: Yes.

14 NELSON: Okay, is there--I would expect that in the long
15 term for the backfill scenario, whichever one you're talking
16 about, that given natural water you may well build up some
17 cementation.

18 PETERS: Right.

19 NELSON: In the backfill. And you might even be able to
20 detect it in some of the experiments now, you know, with very
21 careful measurements, a small stream, seismic measurements
22 might pick up that gain and stiffness--which seems to me
23 might have something to do with how backfill performs.

24 PETERS: Right.

25 NELSON: Long term. Are you looking for that or are you

1 in any way going to be able to evaluate any of that from your
2 tests that you're running on the backfill?

3 PETERS: We're evaluating it absolutely. We're focusing
4 on column experiments. We have--also at the Atlas facility
5 what I did discuss today was we're starting a series of
6 column experiments where we're putting invert and backfill
7 type materials and doing flow through experiments to look for
8 the chemistry effects.

9 Pilot scale aren't the greatest thing to look at
10 for those things. We'll characterize the backfill, try to
11 characterize it; but we're using the column as a better
12 constrained way of getting at the chemical effects.

13 NELSON: But it would include the evaporation--

14 PETERS: Yeah.

15 NELSON: --access as well as you would--

16 PETERS: Right.

17 NELSON: Think about it, because--

18 PETERS: Okay.

19 NELSON: --there's probably some information to grab
20 there.

21 PETERS: It's just harder to control in that pilot scale
22 test. It's easier to deal with in the column type
23 environment.

24 NELSON: Thanks.

25 RUNNELLS: Question from Leon Reiter of the staff.

1 REITER: Leon Reiter, staff. I've two questions, and I
2 don't know if you're the person to answer them, but I'll ask
3 them. First question, now that you seem to be confirming
4 Alan Flint's estimates of water potential, what does that
5 mean for the repository and its performance and performance
6 assessment?

7 The second question, and this--tried to ask it
8 before. I'm not quite sure I've gotten the right answer. It
9 seems to me the project is leaning away from backfill because
10 of the concerns about the thermal affects, that they might
11 cause too much heat.

12 Maybe you can explain to me how in other countries
13 like Sweden and Finland, where they use a lot more backfill,
14 their are thermal constraints are much more severe, they're
15 concerned about the bentonite not being above 100 degrees,
16 how do they manage to do it? Is it because they have
17 different fuel packages, they space them apart, they cool
18 them; and why can't we do these kinds of things?

19 SPEAKER: Say thank you.

20 PETERS: Yeah, thanks, appreciate--you know, I'm going
21 to do the logical. The second one I'm not going to try to
22 answer myself. So I'll defer that to the audience.

23 The first one, we're going--Bo--I'll probably ask
24 Bo to comment further; but yeah, the water potentials that
25 we're observing in the cross drift, as we confirm that we're

1 converging on an answer that appears to be these are really
2 what they are as observed from the cross drift, those will
3 have to be incorporated into the modeling effort.

4 Now we've been using--you know, I'll speak for Bo
5 since I'm up here, but he's going to have to either confirm
6 or deny--we've used data--the available data really up until
7 this was really based primarily on the surface base
8 measurements. That's really where the water potential--a lot
9 of the water potential information was coming from. The
10 differences there will have to be dealt with in the modeling
11 process through sensitivity and possibly alternative
12 calculations.

13 Bo, are you in here or did you leave? He left.

14 REITER: Do you have any idea what the impact might be--

15 PETERS: I wouldn't want to speculate on that, Leon.
16 That's Bo's answer, on the impact. The second one, I've been
17 completely not personally involved in the details and the
18 decisions on backfill, so I'd really rather not even try to
19 answer that.

20 Is somebody in the audience willing to do so?

21 SPEAKER: That's in the saturated zone.

22 PETERS: Okay, well--go ahead, Dave.

23 STAHL: David Stahl, M&O. I just want to take a crack
24 at answering Leon's second question having to do with the
25 other repositories. These are of course as you know

1 saturated zone, much lower thermal output per waste package.

2 For example we're looking at 21 PWR assemblies in a package.

3 Most of their designs look at either 4 or 9, so it is a much
4 lower heat output.

5 They're also looking, as you know, at keeping the
6 backfill below the boiling point because that's when the
7 bentonite begins to degrade. So they need that combination
8 of high conductivity and low thermal output to keep the
9 temperature down. So that's how they approach it.

10 Does that answer your question, Leon?

11 REITER: Where is the thermal conductivity--the thermal
12 conductivity is higher?

13 STAHL: It's higher for the bentonite, yes, because you
14 don't have air in there. That's what keeps the conductivity
15 lower in the case of the crushed--any crushed material.

16 LEITER: So if we had a strategy for low temperature
17 repository could we adopt some of the methods that other
18 people are using, or is it possible?

19 STAHL: Oh, of course you could, but it would be a much
20 more expensive repository. You'd need much more area, and we
21 want to take advantage of the unsaturated nature of the site
22 rather than going to a saturated repository. That's a whole
23 different discussion.

24 RUNNELLS: Question from Dan Bullen.

25 BULLEN: Bullen, Board. Mark, you did a great job of

1 giving us an overview of all the data that are coming in.
2 The same question I asked Bo this morning with respect to the
3 availability of data in the AMRs and PMRs, and how it feeds
4 into the decision process for I guess the characterization
5 report, consideration draft this November, and TSPA-SR that
6 will be coming out; and then I've got a quick followup after
7 that one, but I'll let you do that one first.

8 PETERS: For the Rev. 0, for the consideration draft,
9 the data, what I'll call freeze, or the data that can make it
10 into that, was really collected as of the end of last summer.

11 So what I'm talking about here in terms of anything that's
12 been collected beyond that is all up until the summer time
13 frame going to go into Rev. 1.

14 BULLEN: Okay, and that will be the Rev. 1 for--

15 PETERS: For the final--

16 BULLEN: --TSPA-SR.

17 PETERS: For the final SR.

18 BULLEN: Right.

19 PETERS: Right.

20 BULLEN: Okay, so then following question to that--

21 PETERS: Let me--let me just--

22 BULLEN: Oh, okay.

23 PETERS: --one clarification. A lot of it will be based
24 on impact analysis. We've made certain assumptions in the
25 Rev. 0 and we'll see additional data, and there may be impact

1 analysis done. We may not change, significantly change the
2 models. It may just simply--

3 BULLEN: You're a great straight person, because that
4 was the question. What's the critical pieces or what are the
5 critical pieces of data that you expect to see--

6 PETERS: For--

7 BULLEN: --or be needed--or be required for the SR? Is
8 there anything in here that we should really be paying
9 attention to, that should jump off the page at us?

10 PETERS: I think the seepage stuff in the cross drift,
11 and we're putting a lot of effort in the field to get that--
12 get as much as we can by July time frame. That's one that
13 you should be looking at, because we're spending a lot of
14 time and effort to make that happen, working in some extra
15 time.

16 Some stuff associated with the stress corrosion
17 cracking I think is important. I think the drip shield, as
18 we continue some of the tests on the drip shield in Atlas, I
19 think that's important to watch.

20 BULLEN: Thank you.

21 RUNNELLS: Question from Dave Diodato of the staff.

22 DIODATO: Diodato, staff. I--with regard to the seepage
23 issues Bo presented this morning, those--all those
24 experiments done at ambient temperature, and I'm just
25 wondering in a higher heat situation where you might tend to

1 reduce the viscosity of water, the mechanism for limiting the
2 seep that was evoked was capillary tension phenomena.

3 So it seems to me reducing viscosity of water, one,
4 might reduce the capillary tension and result, you know, in
5 increased potential seepage--is one thing to think about. SO
6 the idea of these thermal experiments, I think if you're
7 going to go with a high heat design you might--might be
8 something to think about.

9 The other thing is the geologic model that you
10 have, your stratigraphic workbook--

11 PETERS: Yeah.

12 DIODATO: --slide, I had the impression that you're
13 coming to closure on a geologic model. Is that--would be a
14 static final geologic model, or would there be possibility as
15 the drifts are drilled for example to add to your database
16 and keep this as a living model and add to knowledge as we go
17 and that reduce the epistemic uncertainty that we learned
18 about yesterday?

19 PETERS: As we would--right now, I mean we've done the
20 mapping at the surface. That's complete. We've mapped the
21 ESF and cross drift. We're not drilling any additional deep
22 surface boreholes right now, in the plan. So the data is
23 what it is now. I mean absolutely if we were to go off and
24 do some other things, that would be updated. But we are
25 converging on sort of a final product there as we go to SR.

1 The flexibility--you know, it of course could be updated.

2 DIODATO: Thank you.

3 PETERS: We have no plans to any additional data.

4 RUNNELLS: Question from Alberto Sagüés.

5 SAGÜÉS: Sure. The test canister number 3 tests--

6 PETERS: Um-hum.

7 SAGÜÉS: What kind of liquid was it that they're
8 dripping?

9 PETERS: It was straight--it was water, straight--I
10 believe it was J-13.

11 SAGÜÉS: Oh, was it like a J-13?

12 PETERS: Yeah, I believe--yeah.

13 SAGÜÉS: What was the temperature of the simulated by
14 the surface?

15 PETERS: The whole test canister itself was maintained
16 at 60 degrees C, and the surface of the mock canister was 80
17 degrees C.

18 SAGÜÉS: Okay, I was interested when you mentioned the
19 titanium coupons having oxide film. Was that like an
20 invisible -- they found or was it like a clearly visible--

21 PETERS: I--

22 SAGÜÉS: --something like that?

23 PETERS: I don't know the answer to that. Dave, are you
24 familiar with those observations at all, on the oxide films?

25 STAHL: Yes, on the--David Stahl, M&O--we did take some

1 photographs of those samples and we weighed them, but we
2 haven't done any detailed analysis on those samples yet.
3 Some of that was due to staining. There were some dyes that
4 were used that we're not 100 percent certain what the cause
5 of that discoloration is at this point in time. Certainly we
6 expected the carbon steel exposed to moist conditions to
7 rust, and it did. And the other materials were by and large
8 unattacked, but with some staining in some cases.

9 SAGÜÉS: --is brand new yet. It's just couple--some
10 kind of deposit--deposit--other than the corrosion product.

11 STAHL: I'm sorry?

12 SAGÜÉS: A deposit other than a corrosion product, I
13 would expect.

14 STAHL: Nothing out of the ordinary.

15 SAGÜÉS: Thank you.

16 RUNNELLS: Other questions from the Board? Yes, Dick
17 Parizek.

18 PARIZEK: Parizek, Board. Question about the Kd work.
19 Is there additional samples being planned to be collected
20 from the current drilling, to do more Kd work? And I guess
21 as I understood the first samples were from very coarse
22 textured material; there also seems to be plenty of clay,
23 minerals also present. So will there be additional Kd work
24 and will it also include some search through the clay
25 fraction of the boreholes?

1 PETERS: Yeah, you're right. The initial samples were--
2 the fines--our protocol as we've done with all of our bad
3 sorption work, is you analyze the coarse fraction. So you're
4 right; so there's--it could be that the fines could be--
5 provide additional benefit.

6 Right now in the plan--there is an additional plan,
7 but we are considering, seriously considering looking at
8 doing some additional work there. But right now if you call
9 Jim Conk (phonetic) on the phone he doesn't--he's not doing
10 anything right now. But we're--DOE's considering that with a
11 lot of other things, to bring back into the plan.

12 PARIZEK: And one other question about whether you have
13 any pneumatic data from behind the bulkheads. Is there any
14 attempt to measure pneumatic responses in the--

15 PETERS: In the opening or down hole?

16 PARIZEK: Well any opening let's say over toward the
17 fault side of the--

18 PETERS: Right now we don't have anything, but in
19 talking to Alan Flint, we're talking about doing some
20 additional measurements behind the bulkhead based on some of
21 the observations we've had with condensation in certain
22 areas, and that includes Rh and maybe some pressure
23 measurements to try to understand the flow within the opening
24 a little better, because there's some interesting dynamics
25 going on there..

1 RUNNELLS: Mark, I have a question about the CO2--the
2 concentration of CO2 in the gas. What's the source of that?
3 Is that a breakdown of some kind of carbonate cement or
4 something? What's the explanation?

5 PETERS: I think it's primarily just heating of the pore
6 water, the gas in the pore water.

7 RUNNELLS: The gas in the pore water. There's getting
8 to be some pretty high numbers--

9 PETERS: Um-hum.

10 RUNNELLS: --in there.

11 PETERS: --percent levels, yes, very high. And they've
12 looked--Mark Conrad at Lawrence Berkeley is doing a lot of
13 that work. He's I believe found--done some carbon 14 as well
14 and it's mostly dead carbon, for your information. So
15 dissolution of calcite--calcite sources come to mind too, but
16 it appears to be mostly the pore water.

17 RUNNELLS: The model was not fitting very well until you
18 said you have new data--

19 PETERS: Yeah.

20 RUNNELLS: --kicking back up.

21 PETERS: Yeah, you're right. Don't really know why they
22 flattened out like that. They think--we had a power outage
23 of about three or four days just before that, and so we were
24 speculating on the phone yesterday that maybe it was because
25 we turned off the engine. So we--that's pure speculation.

1 RUNNELLS: Okay.

2 PETERS: --because sure enough, they started coming
3 right back up.

4 RUNNELLS: Okay, I have one other I think quick
5 question; then I'll ask for other questions from the Board
6 and staff. You've mentioned in looking at your figure 21--
7 and we don't have to go back to it, that's the one of the
8 water potential measurements, comparing the psychrometers
9 with the heat dissipation units--that they were converging
10 rather well, I think you said.

11 PETERS: Yes.

12 RUNNELLS: To my eye they're actually crossing. The dry
13 installation continues down and the heat dissipation probes--

14 PETERS: Yeah--

15 RUNNELLS: --like they're continuing up. There are
16 different depths in the rock. But regardless of that, what
17 difference would it make--if I were to look at the numbers--

18 PETERS: Right.

19 RUNNELLS: --I see a difference in bars of about .5 bar.

20 PETERS: Um-hum.

21 RUNNELLS: What difference does that make? I mean
22 what's the implication of whether or not they are converging?
23 With a .5 bar there--

24 PETERS: That's what's--I think that's basically--I mean
25 not being an expert in that instrumentation--but that's

1 basically really within the error of the measurements. You
2 know, the error on these measurements is probably
3 substantial, quarter bar, half to a bar minimum.

4 RUNNELLS: It feeds into the seepage more or less--

5 PETERS: Yes. One of the--the other thing is, is these
6 are actually--yeah, they're different depths. That's
7 important to notice--you pointed that out. But the two meter
8 depth, we shouldn't be seeing a lot of effects of ventilation
9 there at two meters depth. And they're behind the bulkhead.

10 SO--

11 RUNNELLS: It may turn around and start--

12 PETERS: It may turn around. I's a little bit of an
13 apples/apples--it's not totally apples/apples because they're
14 different depths, and it's also very preliminary. But we
15 were concerned. What we're really concerned about, I would
16 be more worried if this was sitting way up at 3-1/2, because
17 that's what some of the surface measurements were telling us.

18 RUNNELLS: Right, right, right--

19 PETERS: So at least we're not seeing an instrument
20 artifact.

21 RUNNELLS: But you're--without worrying about the
22 details of the model you read would be that .5 bars is not
23 going to have any great affect, let's say--

24 PETERS: That--that would be my--

25 RUNNELLS: --threshold seepage number.

1 PETERS: Yes, that would be my take.

2 RUNNELLS: Okay. Thank you. Question from Priscilla
3 Nelson.

4 NELSON: This may be a little bit off the way or out of
5 the mountain, but the title of your talk was Scientific
6 Programs. And you present the--this is Nelson, Board, sorry
7 --you present the stratigraphy, the site materials work as
8 being fairly well completed and canned, or for this major
9 iteration.

10 But I'm wondering about the alluvium, and material
11 that's not directly in the mountain or in the ESF or in the
12 cross drift; and wondering what the scientific program is to
13 really characterize the alluvium, the variability of the
14 alluvium; and even the interface between rock and alluvium
15 out in the downstream part of the flow path.

16 PETERS: So you're talking down--

17 NELSON: Out--

18 PETERS: --in--in--where--where SZ hits alluvium, down
19 gradient.

20 NELSON: Yeah.

21 PETERS: Not--not on top of Yucca Mountain.

22 NELSON: Yes, and so this is--may fall into hydrology,
23 but it also falls into material characterization in terms of
24 how variable--

25 PETERS: Right.

1 NELSON: --should that alluvium be. Is there anyone
2 address this? Is it a component of the project other than
3 just from the standpoint of hydrologic testing at specific
4 depths and boreholes, really trying to get a conception of
5 what the variability of the alluvium is?

6 This question is derived from several conversations
7 with Richard Parizek as well, so I'd think he'd second the
8 general question about what the project's doing regarding
9 characterization of alluvium.

10 PETERS: We're--that information's coming from how we're
11 integrating the Nye County results. I mean Nye County's down
12 there drilling and looking at those kinds of things. The
13 U. S. Geological Survey, Rick Spangler in particular, is
14 looking at those issues. I had a bullet about the
15 stratigraphy. There's discussion of it over there as well.

16 We're integrating the Nye County results as best we
17 can, to look at the stratigraphic--the hydrostratigraphic
18 aspects of alluvium as they're drilling their holes. That's
19 the program. Al's standing up and wants to say more, but
20 that would be my take.

21 ATTABAR: Attabar, the M&O. The project is also
22 planning some testing complex, called the alluvium testing
23 complex, down in the Armagossa Valley to correct -- the
24 alluvium and collect data on--hydraulic data--on the flow in
25 the alluvium, and also validate in some of that transport

1 process in the alluvium and get in transport data in that
2 portion of the flow paths in the alluvium.

3 So the characterization of that portion of the flow
4 paths is an important aspect of the SZ. And as Mark
5 mentioned, the Nye County exploration has been integrated
6 into the SZ fluid transport model, and in addition to that
7 the project is planning this alluvial tracer or testing
8 complex which include hydraulic testing and also conservative
9 and reactive tracer testing.

10 NELSON: Okay. I think my question direction,
11 really the standpoint of so much careful characterization of
12 what the rocks in the mountain are, and what the rock mass
13 characteristics are expected to be. And understanding how
14 variable this alluvium is from a few boreholes is difficult
15 outside of a geologic context for environment and deposition.
16 And they're difficult to sample, and to really say a lot
17 about grade size distribution, lateral continuity, many, many
18 other characteristics of an alluvium that are really going to
19 strongly influence the long distance travel information as
20 opposed to the short C-well type complex information.

21 ATTABAR: I think it's a very important issue. The Nye
22 County early warning drilling program is planning a total of
23 22 wells that are perpendicular and parallel to the flow
24 path. And I think you're prepointing to a good question, and
25 that is the scale of testing as opposed to the scale of the

1 actual flow path.

2 We are hoping that the multidisciplinary approach
3 to the characterization will help reduce the uncertainty in
4 that field. From the 22 wells we are collecting a wealth of
5 information regarding lithology. And we have also aero-
6 magnetic information, and also the hydrochemistry. And the
7 testing at the complex will be in a few phases, and my
8 personal opinion, it's going to take a long time.

9 We are going to get some of the early information
10 into the SR and some more broad information into the LA, but
11 I think a lot need to remain to be done for information
12 purpose, especially in terms of--you know, the heterogeneity
13 and then the scales problem that you are talking about.

14 NELSON: Thank you, I'd really like to reinforce this
15 whole stratigraphic sense of exactly what's there and its
16 heterogeneity is really important, and I think your
17 multidisciplinary approach is one which is good; and I
18 encourage it to expand to all variety of information.

19 PETERS: I guess I would also add, you know, it gets
20 back to maybe the uncertainty discussions. We're going to
21 have uncertainties with this as we go forward, and we're
22 going to have to--it's how you handle it in the performance
23 assessment where it comes together.

24 So when we go to SR and LA we're not going to know
25 as much about the alluvium downgrade as we do about the lower

1 lith underneath the mountain. It's just reality.

2 RUNNELLS: We have time for perhaps one question more.

3 Dick Parizek--

4 PARIZEK: Parizek, Board. Brian Marshall in the public
5 comment period, I think what he said was that the 200
6 millimeter value for, you know, drips is not supported by the
7 hydrological data. What's the program going to do about
8 that? Did I miscast what he said?

9 PETERS: No, no, no. We're going--

10 PARIZEK: So then this question, how to deal with this?

11 PETERS: Ahh--

12 PARIZEK: --flagging a concern--

13 PETERS: I mean--

14 PARIZEK: --program.

15 PETERS: --the information's being gathered based on
16 calcite distribution--

17 PARIZEK: Right.

18 PETERS: --et cetera, lithophysal cavities, if I'm
19 familiar with it. We're going--I mean Brian works on the
20 project along with me and the others, so we're going to have
21 to understand the implications there. But we're seeing
22 certain things in the field tests, and if he's seeing
23 something different in fracture minerals, that has to be
24 dealt with.

25 RUNNELLS: I think he was suggesting perhaps even a

1 different mechanism--

2 PETERS: Yeah.

3 RUNNELLS: --than has previously been looked at.

4 PETERS: And that absolutely has to be addressed.

5 RUNNELLS: It's in the film precipitation, that sort of
6 thing. In a couple of minutes, Mark, could you just describe
7 to us what you have seen, what the researchers have seen
8 behind the bulkheads in the section that is being closed off?

9 PETERS: Yeah, the first entry, we didn't see anything
10 terribly exciting, in September. But when we went in--I
11 wasn't there, I was actually getting ready for this talk, I
12 would have liked to have been there--several of the PIs,
13 Berkeley and USGS were there, some of my folks.

14 We went in and we saw some areas of organic where
15 there was mold, quote mold, growing in the cross drift. We
16 had seen that in alcove 7. Remember alcove 7's bulkheaded
17 off. We'd seen that.

18 But then the interesting thing was, as we--about a
19 50 meter section of tunnel--this was alluded to a little bit
20 this morning--just before the second bulkhead, so from about
21 2450 to 2500 there was a lot of condensation on the bent
22 line, on the cables. Don't think that it--no apparent
23 evidence it had dripped from the rock, but it condensed from
24 the air. Now we've got to understand why, what's going on
25 here.

1 We think right now that there's a temperature
2 gradient in the tunnel because the TBM is still parked at the
3 back end. And it's powered because we don't want it to rust
4 in place. So there's probably a temperature gradient. This
5 is preliminary. Alan Flint can speak more to it.

6 There's a temperature gradient in the tunnel and we
7 may just be condensing along the temperature gradient. We've
8 got real high humidity--it doesn't take much--and you're
9 condensed. So that's what we saw.

10 We're still grappling with what exactly it means,
11 and how we're going to go forward with the test--with that
12 testing program, because, you know, you've got to--if you're
13 condensing, is that drips or how are we going to tell if it's
14 really dripping. Those are the kinds of questions that we're
15 asking. Premature to really say what our solutions are, but
16 we're working it.

17 RUNNELLS: Okay, appreciate that description. Thank
18 you. With that we'll close, and thank you very much for your
19 presentation and time.

20 PETERS: Thank you.

21 RUNNELLS: Our next speaker is Ardyth Simmons. Dr.
22 Simmons has a Ph.D in geology from State University of New
23 York at Buffalo, and since 1995 she's been a program manager
24 in the earth sciences division at Lawrence Berkeley. Prior
25 to that she was geochemistry team leader of the DOE Yucca

1 Mountain Project.

2 And Ardyth is going to talk to us about natural analogs.

3 Welcome, Ardyth.

4 SIMMONS: Thank you. It's a pleasure to be here.

5 For some of you who have been around the program
6 for a few years you'll recall that the Board had a meeting in
7 I think it was April of 1991 that dealt with natural analogs.

8 The project has changed quite a bit since then, but some of
9 the analogs remain good analogs.

10 So my presentation is going to talk about the
11 studies this year as well as the role within the program of
12 natural analogs, and the current work that we're going to be
13 doing this year and the next years to address uncertainties.

14 But first I'd like to give a definition, our
15 working definition of natural analogs. And we are referring
16 to both natural and anthropogenic, or human-produced systems,
17 in which processes similar to those that are expected to
18 occur in a nuclear waste repository are thought to have
19 occurred long time periods--that's one key--and large spatial
20 scales that are usually not accessible to laboratory
21 experiments.

22 This is the benefit of natural analogs. There is a
23 caveat however, in that they must be carefully selected to
24 exclude analogs for which initial conditions are poorly known
25 or where key groups of data such as source term are poorly

1 constrained. So it's important to select analogs carefully.

2 Now within the Yucca Mountain Project the TSPA-VA
3 in '98 did address natural analogs as a means of building
4 confidence in certain process models. But there were no
5 specific recommendations as to particular analog sites to
6 study. So that was one of the things that we wanted to look
7 into.

8 I also want to call to your attention that natural
9 analogs are the fourth element of the post-closure safety
10 case that was talked about earlier in this meeting, and
11 you'll find them addressed in chapter 2 of the booklet, if
12 you picked it up. The NRC also anticipates that our program
13 will use natural analogs as a means of building confidence in
14 modeling processes.

15 Now I'm not going to go over this table in detail.

16 This is from the actual repository safety strategy. But
17 what I want to do is highlight the shaded areas, which are
18 areas within the safety strategy that can be addressed
19 effectively through key natural analog studies. So you'll
20 see that not each one of the factors, but many of them, can
21 be addressed through analogs.

22 Now in addition to confidence building in modeling,
23 which is one of the primary uses of natural analogs, there
24 are other uses as well. They include confidence in design,
25 verifying that codes represent processes correctly through

1 the use of data from analog systems, testing databases by use
2 of thermochemical and kinetic data, particularly in these
3 areas; and also for public information and education. And
4 all of these are important.

5 In FY99 these are the particular items that we
6 worked on, and I will not be--I won't have the time to talk
7 about all of them to you. I'm just going to highlight a
8 couple of examples. But the first thing that the project did
9 was to synthesize relevant analog studies from the
10 literature to provide a foundation for future work.

11 Another aspect was fracture flow analog at Box
12 Canyon, Idaho, and this was a modeling study in a location
13 that was just outside the border of Idaho National
14 Engineering and Environmental Laboratory. The purpose of
15 this was to provide confidence building and testing of the UZ
16 flow and transport model.

17 An additional component of this study was modeling
18 dispersion in a tritium plume at Hanford, and this was
19 directed towards the saturated zone flow and transport model.

20 One component that I'll be talking a little bit more about
21 today is the work at Peña Blanca, Mexico that was directed to
22 the UZ flow and transport model, and can also apply to spent
23 fuel dissolution.

24 We also did some information gathering about a site
25 in Krasnoyarsk, Russia as a potentially thermally coupled

1 process analog. And all of this work listed here went into
2 two products: an analysis model report for the unsaturated
3 zone and then a synthesis report which will be a chapter in
4 the site description to come out in 2000.

5 Some points about the synthesis report, again that
6 it was to bring together information from past studies,
7 document how the project was using natural analogs and also
8 to make recommendations for future work in this area.

9 Now I want to mention anthropogenic studies just
10 briefly. I mentioned the work at Box Canyon and at Hanford.

11 And anthropogenic studies are a little bit different from
12 those at the natural sites because the time periods are not
13 in the order of thousands of years, but are usually in the
14 order of decades.

15 But it's important to utilize experience from DOE
16 sites and other sites where there has been flow on
17 preferential pathways to try to understand this occurrence
18 and use this to building confidence in our own models. So
19 I've listed again the sites that we started to look at in
20 '99, and there will be some additional work in this area in
21 this year and the next.

22 Now when one is searching for an analog there is
23 nothing that's perfect, but we look for certain
24 characteristics, particularly in a transport, a radionuclide
25 transport analog. We look for a known source term, similar

1 suite of radionuclides, well-characterized data, and so on.

2 And so with these criteria in mind, we have been
3 focusing on a certain deposit at Peña Blanca in Mexico, and
4 DOE can't take credit for identifying this site. It was
5 called to our attention by the NRC and by workers at the
6 University of Texas. But many of the characteristics of this
7 deposit in Mexico are very similar in tectonics, in climate
8 roughly speaking, in geology, and so forth, to Yucca
9 Mountain. It's probably the most closely matched analog site
10 we have.

11 This is sort of a cartoon of the deposit. This is
12 the uranium--it's a uranium deposit, and it's located in
13 welded tuffs that are very similar in mineralogy and
14 chemistry to the middle nonlithophysal unit in the Topopah
15 Spring. It's a breccia pipe type deposit, and these areas
16 are sections off at different levels. They're adits into the
17 mine. It's an abandoned mine.

18 So the previous work had indicated that although
19 the deposit is in oxidized unsaturated tuffs, the vertical
20 migration of the uranium and daughter products appeared to
21 have been minimal. So in the last year we did a scoping
22 study to look at collecting additional data to try to develop
23 a three-dimensional picture, and eventually a three-
24 dimensional model on the transport of uranium. And we want
25 to look at the natural barrier conditions at that site that

1 provide isolation.

2 So, so far the work that the DOE people and
3 laboratories did this year suggests that the geochemical
4 system there restricts actinide mobility. This confirms the
5 previous work. And it was uranium series work that was
6 performed by Los Alamos, and a series of nuclides including
7 uranium thorium age data that was supported by protactinium
8 U235 activity ratios that showed that the primary transport
9 of uranium to fractures occurred roughly at 300,000 years
10 ago.

11 There has been limited migration since then, but it
12 has been quite limited. We have a few opal and caliche data
13 that suggest that there was enhanced fluxed on a very local
14 scale, about 50,000 to 90,000 years ago; and that there was
15 minor redistribution of radium and 234 uranium about 5,000
16 years ago. So we're looking at three different ages, and
17 timings, of rock/water interaction and potential migration.
18 But the emphasis is the the majority of the uranium has been
19 in place for the last 300,000 years.

20 So in the synthesis report--now moving off of Peña
21 Blanca a little bit, but still making a conclusion with
22 regard to it, is that the sequence of uranium paragenesis or
23 alternation minerals at Peña Blanca is a very good analog to
24 alteration of uranium oxide spent fuel. And this has been
25 observed in past mineralogy studies that have been compared

1 to laboratory work done by Dave Ronkowitz.

2 Another point from that synthesis report is that
3 colloid filtration has been effective at several analog
4 sites, not just Peña Blanca, but numerous other sites that
5 were investigated. And in most of the sites advective
6 transport along fractures has been a more significant
7 mechanism than matrix diffusion.

8 Also analogs suggest that sorption along fractures
9 enhances radionuclide retardation significantly. So these
10 are a few qualitative points that we've learned through
11 analogs.

12 Now the report also made some recommendations for
13 future work, and one that we'd like to work more on in the
14 future is Rainier Mesa and apply some of this existing data
15 and perhaps additional data to drift seepage models. Rainier
16 mesa is located--for those who don't know it--on the Nevada
17 Test Site north of Yucca Mountain.

18 We also plan to utilize data from fossil
19 hydrothermal systems, that is systems that are no longer
20 inactive, and to use data sets from analogs that have already
21 been studied. There are key data sets from places like
22 Alligator Rivers and Oklo that are ready for application in
23 models. And also we want to use these analogs to addresses
24 issues of public confidence.

25 This is a comparison of hydrogeologic data at

1 Rainier Mesa and Yucca Mountain, and I'm just using this as
2 an illustration--it's from a report by Joe Wang--to show that
3 there are some differences, but there are also quite a few
4 similarities in the two sets of tuffs and the hydrogeologic
5 data. So this allows us to go forward with the analog.

6 In this year we're continuing some work at Peña
7 Blanca. I'll say a little bit more about that. We're going
8 to work further on the transport modeling study at the Idaho
9 lab, modeling processes at selected geothermal sites using
10 existing data.

11 There will be a small field and modeling study at
12 Paiute Ridge, which is also on the Nevada Test Site, and this
13 is one of the fossil systems that I mentioned previously.
14 And then we are exploring the notion of potential process
15 modeling of data from the Krasnoyarsk, Russia site.

16 Back to Peña Blanca again, this is a map showing
17 the ore deposit, in black; the region that has been altered
18 and influenced by the ore, in grey; and then there are three
19 red circles here, one within the ore body and two outside it.

20 And the one within the ore body is the location of a drill
21 hole that we plan to drill this year through the ore body
22 downward to a depth about 200 meters.

23 The other two are located away from the ore body to
24 provide some control, and eventually we want to use the data
25 collected from the water geochemistry and from the cored

1 borehole to--for both analysis and building the three-
2 dimensional model I referred to earlier.

3 So just very briefly, I mentioned the K-26 site in
4 Russia, and it may be an analog to Yucca Mountain coupled
5 processes. At this location there is 50 years of data from
6 an underground facility that's been heated by radiation.
7 Many of you may be familiar with it. It's appeared on "60
8 Minutes" and a few other television programs.

9 Here we have ongoing coupled thermohydrologic-
10 mechanical-chemical processes. It's the project we wish,
11 it's a good place to investigate the stability of cement;
12 it's also a good place to investigate radionuclide transport
13 at above ambient temperatures, to look at preferential
14 fracture flow, and permeability changes due to thermal
15 processes, including mineral alteration.

16 So at this point we've been having discussions with
17 the Russians to identify potential analog information and to
18 identify data sets, and we're also going to look at the
19 possibility of using some deep injection data that they have
20 as well. And that's aside from the coupled process
21 information.

22 So there's a number--now in terms of geothermal
23 analogs themselves, we're going to look at selected data from
24 geothermal fields that are under operation now, and use data
25 from them for testing thermochemical and kinetic databases;

1 and then as I said, to look in addition at data from fossil
2 hydrothermal systems.

3 This is a table that you can examine at your
4 leisure if you wish, but it was--appeared in the synthesis
5 report that I mentioned, and it's a first cut at looking at
6 the list of Yucca Mountain issues and coupled processes. And
7 the potential sites within geothermal fields that may be used
8 to address these issues and approaches that might be used.
9 And this is continued onto the second page. What we'd like
10 to do is to start with obviously fields that have the most
11 similarities to Yucca Mountain, which are probably going to
12 vapor dominated fields.

13 So in closing, I want to draw you back to a
14 slightly similar table to the one that appeared in the very
15 beginning of the presentation, where I talked about the
16 principal factors. And this table is derived from that one,
17 but what I've done is to take, in the left hand column, the
18 factors that are important to performance.

19 The middle column is the process models used by
20 Yucca Mountain, and the third column are the potential analog
21 sites that would have relevant information which we could use
22 to apply to those process models. And that again is
23 continued on the second page.

24 So in closing, natural analogs have the potential
25 to increase our understanding of some of the processes that

1 are principal factors, and also in the confidence in the
2 performance of other--the non-principal factors such as
3 coupled processes.

4 And we need to investigate further analogs that
5 could be used to increase confidence in waste package
6 materials and the engineered barrier aspects. This a little
7 bit more of a challenge because of the unique compositions,
8 but a few have been identified. And then once again, the
9 illustrative function.

10 That concludes my presentation.

11 RUNNELLS: Thank you, Ardyth. That's very interesting.

12 I will beat the rest of the Board with a quick question
13 here. It seems like there's another category of analogs that
14 you haven't touched on, and those are tunnels, drifts, caves,
15 those sorts of analogs.

16 I'm thinking of the excavations in the volcanic
17 tuff of the Cappadocia region of Turkey, which I've walked
18 through, and they look as fresh as the day they were made;
19 Medieval mines that still stand open in the Erskebere and
20 Cooperchie (phonetic), or places like that.

21 Is there any intent to use analogs, man-made
22 anthropogenic analogs, with regard to tunnel stability, the
23 sort of thing--I probably stole the question from Dr. Nelson
24 here.

25 SIMMONS: Tee answer is yes, and to the question about

1 Cappadocia and places like that, you're going to be hearing
2 from John Stuckless in just a moment about that aspect.

3 With regard to some of the Medieval mines and old
4 Roman nails, old Roman constructions, things like that,
5 cements from those days which are, you know, non-mining
6 related but nevertheless ancient anthropogenic analogs, we've
7 talked about those to some degree in the synthesis report.

8 And so I think you will be getting somewhat of a
9 flavor, and we have not intended to exclude those types of
10 analogs.

11 RUNNELLS: Thank you very much. Dr. Nelson has a
12 question.

13 NELSON: Thanks. Nelson, Board. Thanks for bringing us
14 news of analogs, however you spell analogs. But I must say I
15 was disappointed by the coverage of analogs that was included
16 in this repository safety strategy book, which promises
17 future activity in the realm of performance confirmation time
18 scales as opposed to an a priori support of the site
19 recommendation time framework.

20 Indeed I had the feeling that we were going to have
21 the project completed and it could be its own analog as the
22 project's aim. So I'm very happy to see what you talk about
23 here, but I think since it's been around for a long time in
24 terms of discussion and questioning the project's intention
25 to follow through on developing analog studies as direct

1 support for decision making on the project.

2 So that doesn't really require a response, I'm
3 sure, unless you want to. But the importance of analogs to
4 communication, to talking to the public and to explaining
5 what is known in a framework that people can understand, but
6 also to think about analogs as being a way to demonstrate
7 uncertainty about systems that have already developed and be
8 able to put the uncertainty on the project in a context, more
9 than developing the model; also in input data and other
10 facets of analog studies. It's very rich.

11 And so I for one would strongly support moving
12 straight on ahead as soon as possible in trying to bring some
13 of the analog information into the project for support of
14 decisions. Thank you.

15 RUNNELLS: Do you wish to respond, Ardyth?

16 SIMMONS: Well just briefly. First of all I appreciate
17 your comment, and I acknowledge that some of what I said in
18 terms of building confidence in process models is a function
19 of terminology or semantics. And I don't mean it to be
20 confined to very narrow, let's say, you know, parameter
21 confirmation or something like that.

22 It really spans the whole idea of building an
23 understanding of your conceptual model, the bounds of the
24 input to your numerical models, and really in a qualitative
25 sense--and to some degree in a quantitative sense--it's just

1 that understanding how other systems have evolved through
2 time and what that can tell about Yucca Mountain in the
3 future. So we do want to include that whole round.

4 One other point, just briefly, is that although the
5 project has talked about and supported the concept of use of
6 natural analogs for quite a few years, really this past year,
7 '99, is the first year that we've had a pretty focused effort
8 in this. So I see that as a just the beginning, and we'll be
9 developing these as we go along.

10 RUNNELLS: A question from Dan Metlay of the staff.

11 METLAY: Dan Metlay, Board staff. I'd like to go to
12 slide 22. In the second bullet there's I think an
13 interesting verb, test. And essentially the use of analogs
14 raises a whole set of I think important epistemological
15 philosophy of science kinds of questions.

16 To what extent has the project really thought about
17 the conditions under which one can test anything, using
18 analogs, how one interprets tests ahead of time rather than
19 generating sort of post-facto explanations. So maybe you
20 could give us some of the project's thinking that sort of
21 underlies that second bullet?

22 SIMMONS: I'll try. A lot of work was done in the early
23 years by people such as Rod Ewing, who addressed the
24 philosophical aspects of the use of analogs, the degree to
25 which they could be used, the appropriate uses of them, and

1 so forth.

2 The project itself has adopted those philosophies,
3 you know, probably not without--not with actually saying that
4 they endorse them, but have essentially followed those
5 approaches. And so I think there is very well thought out
6 approach towards using analogs and their limitations and the
7 appropriateness of their use.

8 In terms of the word testing in that second bullet,
9 the testing that we're referring to is at a variety of
10 levels, and it's part of the insert that I responded to Dr.
11 Nelson with. It includes testing the input to one's model;
12 it includes testing the conceptual model; it includes testing
13 the way the numerical model has been constructed. So it's
14 had a variety of different aspects.

15 METLAY: Just a quick followup, is there anything
16 written that reflects the sort of project use, for example on
17 Rod Ewing's thoughts on these questions, or is this just sort
18 of informal knowledge within the project?

19 SIMMONS: There is one document that I would point to,
20 and I'm not sure that it quotes Rod Ewing. I don't believe
21 it does. But a number of years back the project had
22 assembled a group, a peer review group essentially, and it
23 was called the Natural Analog Review Group. And it was
24 composed of experts in natural analog areas from around the
25 world, and also one of our own, Abe Van Luik, was on that

1 panel.

2 And it produced a document that described an
3 approach to the use of natural analogs and it's--their
4 application and limitations. And this has been adopted and
5 endorsed by DOE and is available in the public record and so
6 forth.

7 RUNNELLS: Another question from Carl Di Bella of the
8 staff.

9 DI BELLA: This is Carl Di Bella. I've got some
10 questions having to do with your page 26, two specific
11 questions and one generic question. Generic question is if a
12 tow is not shaded, does that mean that work is definitely
13 going to go on in that natural analog area in fiscal 2000?

14 The two specific questions have to do with item
15 number 10 and item number 4. Item number 10 is about waste
16 package barriers and I see that meteorites are going to be
17 looked at, but I want to suggest there may be an even better
18 natural analog for the performance of C-22, and that is
19 josephenite (phonetic). And it is a higher nickel content--
20 nickel iron alloy, and it was actually mentioned at the June
21 Board meeting. So perhaps the work has been done and it's
22 been discarded, but we've not heard about it.

23 And the third question is row number 4, what are
24 your specific plans in fiscal '99 or 2000 for Rainier Mesa as
25 far as confirmation of seepage in the drifts?

1 SIMMONS: Okay, let's go to your first question, and I
2 want to make sure that I understood it. You were asking
3 about the rows that were not shaded. The rows that were not
4 shaded are ones that we are not focusing direct work on in
5 the year 2000. That doesn't mean that we don't intend to do
6 something with them. But the shaded areas are part of the
7 year 2000 current effort.

8 The Rainier Mesa area in block number 4, what we
9 plan to do with that in this particular year is to use the
10 existing data as input to the seepage into drift component
11 model of the unsaturated zone. That hasn't been done yet but
12 it's in the plans for this year.

13 In regard to box 10, yes, I'm aware of the
14 josephenite, and we--I will acknowledge that we need to look
15 into that more. I know that there is at least one person on
16 the project who knows quite a bit about it, and we need to
17 include that in the realm of our engineered barrier and waste
18 package studies.

19 DI BELLA: I think my confusion is that in the printed
20 version there aren't two different shades of grey. There's
21 only one shade of grey, so I thought the blank meant year
22 2000.

23 SIMMONS: Oh, absolutely right--

24 DI BELLA: And I see that's wrong. Okay. Thank you.

25 SIMMONS: It originally was shaded in two shades, and I

1 can see it didn't turn out.

2 RUNNELLS: Okay, thank you, Ardyth. I think we'll have
3 to close the questioning at that point.

4 I was going to mention that I've detected an
5 increasing degree of agitation on the part of our Board
6 chairman with regard to cell phones going off. Yeah, I'm not
7 going to say anything about that, but I formerly had my cell
8 phone programmed to ring the William Tell Overture, and the
9 first time it went off in a meeting I decided to leave my
10 cell phone turned off.

11 Now having seen our chairman when he's really
12 agitated, I would just suggest that folks with cell phones,
13 you know, think about it a little bit. I'll leave the rest
14 of it up to him.

15 Our next speaker is Dr. John Stuckless, who holds a
16 Ph.D in geology from Stanford University, is an old Harvard
17 man--I like to say the Harvard of the West. Dr. Stuckless is
18 a senior science advisor of the U.S. Geological Survey, and
19 is responsible for much of the oversight of scientific
20 documents being done for DOE.

21 He is going to talk to us further about natural
22 analogs with an emphasis perhaps on seepage models.

23 STUCKLESS: I'm sorry?

24 RUNNELLS: With an emphasis perhaps on how they apply to
25 seepage models. John.

1 STUCKLESS: All right, this is exciting enough so that I
2 didn't feel we needed to add the suspense of watching me
3 learn a new mode of presentation. So I'll stick with this
4 overhead.

5 The title, you all have. This going to go somewhat
6 like your next door neighbor's slide show of their vacation.

7 Most of these pictures are meant to be looked at quite
8 quickly. This is going to be qualitative.

9 SPEAKER: Raise the mike up a little bit.

10 STUCKLESS: Okay. Last time somebody just asked me if I
11 could get further away from it, like that I have a car.

12 We have a couple of models that have been put
13 together by the project, mathematical models, that suggest
14 that seepage into drifts should be a very small fraction of
15 the infiltration flux going by the repository horizon. If
16 this is true it should be testable by archeological and
17 geological models or data, and that's what I'm going to focus
18 on today.

19 We're actually not alone. My organization on this
20 is going to be start with natural systems like caves and go
21 oldest to youngest, and then I'm going to go to some of the
22 anthropogenic systems, and I actually have fought my way
23 through several hundred pages of Spanish on Roman mines. I
24 don't have any good pictures from that. So I touch that very
25 lightly, again going oldest to youngest on the

1 anthropogenics.

2 It turns out that we're not alone in having
3 developed models to explain flow around openings in the
4 unsaturated zone. The French published on this first in '78
5 and then again in '84. Their models are very similar to ours
6 in that much of the flow--and this in limestone, so it's a
7 fracture flow very much like the welded tuff; chemically it's
8 different, yes, but it's similar hydrologically.

9 Much of the flow tends to stay around the outsides
10 of the openings. The French also note that there's a fair
11 amount of flow down along the walls of caves. And so that's
12 something that they didn't quantify it the way we did, but
13 it's their explanation for why the paleolithic art still
14 exists.

15 To give you an idea of how common these sites are,
16 this concludes together from a number of different sites, but
17 there are literally hundreds of sites in Spain and France
18 that have paleolithic art that goes back 15,000, 20,000,
19 30,000 years in age.

20 I will talk specifically a little bit--Lascaux,
21 which is up here, which track back down here--Chauvet, which
22 is over here, Cosquer, which is here, Altamira in Spain,
23 which is here. These sites are not identical to Yucca
24 Mountain. After all nobody buried radioactive waste in any
25 of these.

1 This is from Chauvet. The cave is up in this block
2 of limestone, a very much wetter climate than we have at
3 Yucca Mountain; someplace to the--rain to the north and south
4 of here measures from 58 to 78 centimeters per year versus 15
5 centimeters per year at Yucca Mountain. I have some notes
6 that I can't read without glasses.

7 One of the things that the Berkeley crowd espouses
8 is that the size of the opening makes quite a difference as
9 to what the infiltration flux is actually like. The larger
10 the opening the greater the flux. It's not a linear
11 relationship.

12 So Chauvet, which I'm going to talk about here, is
13 about 500 meters in length, 10 to 30 meters in width, up to
14 15 meters high. I was asked at one point what about
15 humidity. It's 99 percent relative humidity, three percent
16 CO₂, average temperature 13.5 degrees C.

17 In addition to paintings, which I'm going to show
18 you, they found 55 bear skulls well preserved in this cave.
19 How long have they been there? Well these animals--these
20 paintings have been dated at 32,000 years to 30,000 years,
21 dating the charcoal.

22 This picture is particularly important in that it
23 also shows the effect of water running down the wall and
24 dissolving some of the charcoal and removing it. In other
25 words, these things don't exist because they're insoluble.

1 They exist because they've been kept fairly dry.

2 There had been some discussion that these things
3 were done recently with old charcoal. The people at Chauvet
4 went in and took oil smudges off the roof; dated those at
5 26,000 to 28,000 years. And the question that I was asked
6 last time was how do you know that's a good age for the oil
7 smudge. They were made with animal fat, so you don't have a
8 bunch of inherited carbon--dead carbon.

9 Next one I want to look at shows Cosquer, which is
10 down near Marseilles. It's a fairly wet environment, and in
11 fact your cross section shows that the entrance to the cave
12 is actually 37 meters below sea level today. Back in the
13 glacial maximum sea level was down to 120 to 130 meters from
14 where it is today.

15 The painted portions are in here. What does not
16 show in your--is that this level is supposed to be the same.

17 Hydrologically it's very difficult to have sea level a
18 little higher than it would be in the caves, since they
19 communicate.

20 The size of this cave is something like 37 meters
21 by 130--175 meters. Again the humidity, very, very high;
22 CO2 content, not so high; and in the pictures--in the book of
23 this you will also find that you can see the high tide mark
24 because paintings are destroyed up to high tide.

25 I neglected to mention for your benefit, this is

1 good for the public because all of this stuff is available in
2 everybody's garage and attic. It's all published in National
3 Geographic or in coffee table magazines or books published by
4 Harry Abrams and Company.

5 Paintings here date to about 17,000. Some of them
6 go back as far as 29,000. It's the only cave I know of which
7 has got two distinct periods of occupation. The blue on this
8 is calcite which has been precipitated over the paintings
9 without removing them. And the mechanism for that is that
10 during the wet seasons the walls bloom. They literally
11 become damp, moist. When the water evaporates the calcite
12 precipitates.

13 This particular set of images comes off the
14 Internet, which is another fine source of information for
15 anybody who'd like to look it all up.

16 Altamira in Spain is another fairly damp climate.
17 This is off the top, sitting on top of the cave itself.
18 Within the cave--that's upside down--within the cave there's
19 an area which is called the polychromatic chamber. These are
20 all painted on the roof.

21 You can that you've got fractures going all the way
22 through this. This is limestone again, it's a series of
23 limestones and clay stones. The charcoal is apparently
24 totally -- in this case, and there's a group of Spanish
25 hydrologists who have actually worked on this. And here's

1 some of their results.

2 These are qualitative. I had to read these off a
3 graph. They are sending me the original data. But they
4 measured precip for 22 for months; they measured ET, actually
5 calculated ET; they got a net infiltration; they measured,
6 they collected all the water dripping in the cave, measured
7 that.

8 We had a figure given here recently about one
9 percent of what--10 percent of what is put on the surface
10 infiltrates. Well here, seven liters per month infiltrate
11 and about 6,000 liters per month is available at the surface.

12 The overburden here is seven to nine meters thick, is all,
13 and almost everything is diverted around this cave, 150
14 square meters worth.

15 In addition to art work, there's this clay bison.
16 This is still soft clay; this is at Tuc d'Audoubert in
17 France, in the Pyrenees, thought to be someplace between
18 14,000 and 15,000 years of age. The only damage that's
19 occurred to this thing is a little bit of desiccation
20 cracking.

21 At Neo (phonetic), which is very close by, I ran
22 across Monday pictures of footprints in the mud at the bottom
23 of the cave that were made by prehistoric man--still there.

24 Okay, about 12 years before the discovery of
25 Altamira in Spain, which is about 1860, they began

1 discovering rock paintings in India. These range in age from
2 2,000 to 10,000 years. My little sticky at the bottom is to
3 remind me that they've recently published a compilation of
4 over 400 sites in India with rock shelters that are painted.

5 And they range in climates fairly drastically.

6 You go to National Geographic in 1999 you'll find
7 that the largest number of known rock shelter paintings and
8 cave paintings are on the continent of Africa--a very common
9 thing to find these things preserved all over the world in
10 the unsaturated zone. Give you an example from the Sahara,
11 something that is at least qualitatively thought to be more
12 than 4,000 years old, a painting on sandstone in a rock
13 shelter in the Sahara.

14 Okay, the last of my natural examples comes from a
15 place some of you have heard of. It's called the Sheep Range
16 which is out the window here a little distance. 11,000 to
17 12,000 years old, this is a packrat midden. Packrat middens
18 are made of pieces of vegetation that the packrat has
19 brought in, feces cemented with dry urine. It will not take
20 much water to damage this, and these go back to 40,000 in age
21 in this immediate vicinity in rock shelters and caves.

22 One of my oldest--or youngest, rather, natural
23 systems, this is a cave in Israel. What have I got here--the
24 cave size here is only two meters by two meters by 13.5
25 meters. Obviously the rainfall is only about 100 millimeters

1 a year, so it's a much dryer environment now than Yucca
2 Mountain. The stuff in here is dated at about 5,000 years
3 old.

4 There are several carbon 14 dates that you can get
5 from the Israeli Department of Antiquity, but preserved
6 within this cave--by the way, 5,000 years ago is about when
7 we had the dryout in the Middle East, so when that cave--
8 things were put in that cave it was a little wetter than it
9 is today. But there are items made of brass, ivory, that are
10 well preserved there today. In addition cloth--this
11 particular cloth had a skeleton wrapped in it, but the cloth
12 is still in very good shape.

13 Now then, moving to natural openings, this is from
14 the Tomb of Maketra from about 4,000 years ago--was some sort
15 of a functionary in the pharaoh's court. There are literally
16 hundreds of these little wooden figurines that were buried
17 with him that carry--that are painted and they're perfectly
18 preserved. Now again it's only about 25 millimeters of rain
19 there per year, but still they stayed dry, they stayed
20 preserved.

21 A couple of chairs from the Tomb of Tutankhamen
22 from 1,400 B.C. These things again, well preserved; in this
23 case t his actually carved out in the limestone. This is not
24 an above ground tomb, so it's very similar to an underground
25 opening that we might mine out. It's in limestone, fracture

1 flow--little dryer than we have, but absolutely--there are
2 other things that are preserved in there like jugs of wine,
3 loaves of bread, stuff like that there.

4 Moving on to my closest analog so far to Yucca
5 Mountain, these are the Buddhist temples in India, west
6 central India at Ajanta. They're carved into the Deccan
7 basalts. They started carving these about the second century
8 B.C. and they're all very large.

9 But here is one of the Buddhist temples from the
10 second century B.C. They plastered the walls of the basalts
11 with a mixture of mud, grasses, ground up rocks--rock dust
12 and calcite. This particular cave is 30.5 by 12.5 meters in
13 its extent, and things have stayed dry enough in there
14 where the paintings have been preserved for 2200 years.

15 Now you will see spallation effects in all of
16 these, but you don't see running of the colors. So there
17 hasn't been enough water flow even there--the precipitation
18 in that region is 80 centimeters a year, almost all of it in
19 a four-month period. So multiply it by 30 if you really want
20 to know what it would look like on an annualized basis.

21 SPEAKER: Centimeters--

22 RUNNELLS: Yeah, would you repeat the figure? I think
23 we didn't hear the figure, the precipitation.

24 STUCKLESS: Which now?

25 SPEAKER: The precipitation.

1 RUNNELLS: The precipitation figure you gave--

2 STUCKLESS: Precipitation is 80 centimeters a year--87
3 centimeters per year, sorry. And almost all of it in a four-
4 month period. Okay. This cave is from the sixth century
5 A.D. It's a larger cave, if memory serves--yeah. Where am
6 I--cave 2. This is 14 by 14 meters, there's a shrine in it
7 that's 4 by 3 meters, but it's a large opening and things are
8 very well preserved.

9 Slightly younger, and a slightly smaller opening is
10 this one. All of these paintings had some minor damage to
11 them. The damage was caused in 1920 to 1922 when the local
12 rajah wanted these things preserved and he brought some
13 Italian artists in who shellacked them. And much of what you
14 see that's spalling off of these is due to the fact that that
15 shellack is peeling.

16 All right, last summer I went to--or last fall--I
17 went to Cappadocia. This is a perched stream between
18 Derinkyuyu and Kaymakli, two of the underground cities.
19 Derinkyuyu at one point in time had 15,000 to 20,000 people
20 living underground. These are not small openings
21 underground; they're large extensive things.

22 And there supposedly is a tunnel joining those two
23 underground cities. That stream flows across the top of that
24 tunnel about 80 or 90 meters above it, and the tunnel
25 apparently stays dry.

1 This is a schematic of what Derinkyuyu looks like,
2 and you can imagine if you had 20,000 people living down here
3 it had to actually have a pretty good ventilation system to
4 keep them from suffocating, and it is ventilated with these
5 large wells that go down around 90 meters in depth.

6 The size of the underground openings is highly
7 variable, but some of them are very large. This millstone is
8 a meter and a half in diameter, and the opening into this
9 tunnel is a meter and a half or a meter in diameter, which is
10 tough for some people to get through. But that could be
11 rolled across if they were attacked by the Romans.

12 These were started--they started building these in
13 the second century A.D. and continued occupying this up until
14 the ninth century A.D. There is evidence underground for
15 water. This is my USGS colleague who's Turkish by heritage
16 and did all our translating. He's about six foot tall.

17 But near the electrical--near some of the electric
18 lights we've grown algae, and so there is some water; but we
19 looked high and low for any evidence of current wetting of
20 the surfaces, any fractures that had any kind of stalagmitic
21 deposits with them, and found nothing.

22 Also in Cappadocia there is a region, Goreme, where
23 the monks built churches underground from the eleventh
24 through thirteenth century. They're carved into ash flow
25 tuff. I took a piece of this home and gave it to our

1 petrologist on the project, who immediately identified it as
2 Yucca Mountain tuff. I told him it was quite a bit younger.
3 This is about 4 million year old ash flow tuffs.

4 Inside that church, the front of which has fallen
5 away, is this fresco in the ceiling. This is a true fresco
6 as opposed to the ones in India, which were painted on
7 plaster and mud. This one happens to be in perfect shape.
8 It was the only one I found like that.

9 More commonly they looked a bit like this. You can
10 see areas here that have spalled and taken the painting with
11 it, and there are areas in here which have Arabic carved over
12 them, probably a type of damage we won't expect at a mined
13 geologic repository.

14 At that same location we found a kitchen which had
15 been in use for several hundred years, open fires in it, so
16 everything's coated with soot. I'm not a great photographer,
17 but someplace along in here is a break between the wall and
18 the ceiling.

19 You can see the fracture coming across the ceiling
20 and the soot is bleached out next to the fracture. There's
21 no evidence of any kind of dripping here. The floor of
22 course has been destroyed by millions of tourists climbing
23 across it.

24 Where this thing goes down the wall on the diagonal
25 there's obviously been some flow out of the fracture and down

1 the wall, very much like the French models predict.

2 RUNNELLS: John, could you finish up in say, two minutes
3 or so?

4 STUCKLESS: Real easy. Terra cotta armies in China--
5 people thought these would be a great analog. They're a good
6 analog if it's backfilled. These basically had the ground
7 above them collapse in on them so that they were buried in
8 soil. They're broken up a little bit; may have been due to
9 vandals.

10 This is from the second century B.C. There was
11 enough fragments of paint where you can actually go back and
12 reconstruct what these things looked like before they got
13 into a backfill situation and the paint basically has been
14 dissolved off. 100 years later there was another batch of
15 armies buried, and these were anatomically correct soldiers
16 with cloth uniforms and wooden arms. The cloth and wooden
17 arms are now gone.

18 The last picture is just to remind me that there's
19 all kinds of people living underground in carved out geologic
20 formations. In Cappadocia they still live underground in
21 these carved tuff. In China there are areas where people
22 have lived underground for as much as 2,000 years in loess,
23 and they've carved out homes and then farmed over at the top
24 of their homes for 2,000 years.

25 In Tunisia there are people who live underground

1 and farm the areas above them. I found nothing hydrologic in
2 these descriptions about how wet it was in their homes, but I
3 can't imagine they'd stay in them very long if there was a
4 lot of water flowing into them.

5 The conclusions you can read yourself, but in
6 essence it says that things--in openings in the unsaturated
7 zone get preserved remarkably well. On every continent
8 except Antarctica I find examples. I can find them going
9 back for periods of 30,000 to 40,000 years, and my feeling is
10 that this ought to give some confidence to the public that
11 the mathematical models that predict this type of dryness are
12 in fact correct.

13 And on top of that, I agree with Brian Marshall
14 that the figures being used for TSPA are grossly over-
15 conservative for seepage flux.

16 RUNNELLS: Thank you very much, John. Very interesting.
17 Question from the Board? Paul Arendt?

18 CRAIG: Yeah, I want to say--Craig, Board--I found that
19 absolutely fascinating.

20 RUNNELLS: Oh--

21 CRAIG: I attempted to go into a half an hour discussion
22 about Anasazi artifacts, but I only observed--you didn't
23 mention those folk--that you can go 200 miles from here up to
24 Blanding and go into Grand Gulch, and you can find overhangs
25 which are sort of like what you would imagine if we were

1 outside and this were an overhang.

2 And you can walk around and you can find corn cobs
3 and you can find yucca fibers that were used to make sandals,
4 and you can find wall art that has in some cases a striking
5 amount of color on it. And that's all typically 1,000, 1,200
6 years old, right around here.

7 And of course there's lot of that kind of thing.
8 So you don't have to go into a big cave. All you have to do
9 is to go into an overhang and it's out there, not to mention
10 all of the jugs and clay objects which are also found in
11 rather gentle overhangs.

12 STUCKLESS: Almost all those examples in Africa are in
13 rock shelters. All of them in India are in rock shelters.
14 For some reason or another--they do have some limestone caves
15 in India but they have found no painting in those, probably
16 because it required light. I got an awful education in
17 archaeology while I was doing this.

18 CRAIG: Very interesting.

19 RUNNELLS: That was Dr. Craig, by the way, not Dr.
20 Arendt. Dick Parizek.

21 PARIZEK: Parizek, Board. Just a question about flow in
22 the unsaturated zone. Implication is it sort of goes around
23 all of these paintings and these openings and so on. Truly
24 in the carves there, epicar (phonetic) system focuses flow.

25 You can have segments of caves that have been dry

1 for very long periods of time, and actually would make good
2 repositories, in those cave segments. Nobody would accept
3 that as a suggestion, but caves are caves, and there's a lot
4 of channelized flow around the caves.

5 Some of these other openings, are you saying again
6 that it's a capillary barrier effect, you think, that's
7 channelizing the flow around it, given the rain amounts that
8 you--

9 STUCKLESS: That--yeah--not only is it a capillary flow
10 barrier that's basically taking it around the half cave, if
11 you like--which is what a rock shelter sort of is--you'll
12 find articles written that basically say most of the stuff
13 that's being destroyed in these rock shelters is being
14 destroyed by wind oblation, not the effects of water.

15 PARIZEK: But if you were to go back into that ledge
16 some distance would there not be pathways with water?

17 STUCKLESS: Oh, there may very well--

18 PARIZEK: So I mean--so what you see preserved is what
19 happens to be dry for those times--

20 STUCKLESS: Obviously I didn't have time to give you
21 everything that I've read in the last year, but within the
22 Indian examples of the shelters, where banyan roots have come
23 down along the edge of the shelter and provided a
24 preferential pathway for water, the paintings are dissolved.

25 So in essence there's got to be something there

1 that will channelize water across the painting where it will
2 be preserved, basically the Indian archaeologists have
3 concluded.

4 PARIZEK: Yeah, but then let's go back to the mesa,
5 which was suggested as a place to go look at the in modern
6 process. In the brief portion of the test site visit that
7 the Board had, we had drips and we had water leaking off the
8 ceiling and on the sides of walls of one short section of a
9 tunnel that we visited.

10 So again if you go to the right places you can also
11 make the other argument, that these damp places are wet and
12 it's not always--there's focus flow, but there's also drips
13 or seepage. It seems to me yet you've got to balance it with
14 those other observations, and the program has been encouraged
15 to look at that.

16 I know Dr. Simmons has been anxious to do something
17 at the mesa, but I guess you have no money to go in the
18 tunnels. You only have to go with the documentation of what
19 was described before, but seems to me it's such a critical
20 observation, and if it meant ventilating a piece or going in
21 there in space suits for 1,000 feet or more, you could make a
22 lot of observations and argue the other point. That's
23 relevant to maybe the Yucca Mountain case, because that's at
24 a higher elevation, slightly different rainfall amount.

25 So I think you ought to pair these two concepts,

1 the dryness--I mean we've been to the caves, we've been to
2 the--lot of these interesting places, and I agree with you--
3 that lots of stuff preserved a long time in cave segments are
4 great repositories. We have limestone caves storing records,
5 you know, and mines that are dry, places you think would be
6 wet. So there are these special situations, but we want to
7 make sure we don't get fooled because of the special nature
8 of these rocks with the wet--wet conditions that we would
9 see--

10 STUCKLESS: --looked at a whole--

11 PARIZEK: --test site.

12 STUCKLESS: --spectrum of rocks from sandstones to
13 shales to limestones to basalts to rhyolite ash flow tuffs.
14 And a spectrum of climates. Obviously doing a literature
15 search the archaeologists don't show you what's been
16 destroyed, okay.

17 So--but Cappadocia, I went through carefully;
18 Altamira. I know what those things look like. I don't know
19 what the Buddhist temples actually look like in toto. Pretty
20 spectacular.

21 RUNNELLS: Question from Jerry Cohon.

22 COHON: Do you think that the program's plans will take
23 maximum advantage of what's out there in terms of natural and
24 human produced analogs?

25 STUCKLESS: That's kind of a loaded question. I'm

1 fortunately not one of the program planners, so I will defer
2 that to one of the program planners.

3 RUNNELLS: And one closing question from Alberto
4 Sagüés.

5 SAGÜÉS: Okay, it was a great presentation. I enjoyed
6 it very much. A couple of observations perhaps, and one of
7 them is to repeat what you said, at least that by definition
8 the artifacts and the art work that you see is the one that
9 survived. Of course whenever something didn't survive you
10 didn't see it.

11 But in those places with human habitation over long
12 periods of time, wouldn't that imply some kind of air renewal
13 and therefore some sort of ventilation? And wouldn't that be
14 different from a very close chamber kind of environment like
15 could be occurring in the drifts in the repository? Wouldn't
16 that make a big difference?

17 STUCKLESS: I don't know how much of a difference it
18 would make. I would argue that the ventilation that we're
19 seeing--I think Parvis Montazar, if he's around here, has
20 been arguing forever on the behalf of Nye County, that one
21 should ventilate this and it will stay much drier.

22 Certainly all the examples I looked at are
23 ventilated, and in the case of Cappadocia, intentionally
24 ventilated. So the analogs are not perfect. But if they go
25 to a ventilated system they're darn close.

1 RUNNELLS: With that we'll close the session. Thank
2 you very much, John. We appreciate that very interesting
3 presentation. We will reconvene in 15 minutes, at 3:45.

4 (Whereupon a brief recess was taken.)

5 RUNNELLS: We have to move on in order to stay on
6 schedule. We don't want to cut anybody short on their time.
7 Our next speaker is Dr. Robert Bodnar. Dr. Bodnar has a
8 Ph.D from Penn State University; another one of those
9 Pennsylvania guys. His is a university distinguished
10 professor and a C. C. Garvin professor in the department of
11 geological sciences of Virginia Tech University.

12 His research focuses on the study of fluid
13 inclusions. Today he's going to talk to us about fluid
14 inclusions. I would like to however offer my deepest
15 condolences to Dr. Bodnar for a double catastrophe this year
16 during the collegiate football season--Penn State collapsing
17 at the end of the season and Virginia Tech putting on a great
18 effort but falling a bit short. Dr. Bodnar.

19 BODNAR: Thank you. At least we made it there.

20 SPEAKER: Absolutely.

21 SPEAKER: Good comeback.

22 RUNNELLS: And more importantly you belong there.

23 BODNAR: It used to be that when I would go and give a
24 talk I would have to explain to people where Virginia Tech
25 is. After January 4 I no longer have to do that.

1 I want to thank the Board for inviting me to come
2 here and talk about fluid inclusions. Before I start, let
3 me--hope this works--before I start let me just explain very
4 quickly why we're interested in fluid inclusions at Yucca
5 Mountain.

6 It's been proposed that there has been episodic
7 introduction of hot ascending fluids into the repository
8 horizon, and if this has happened episodically in the past
9 that it might happen in the future. And fluid inclusions are
10 one way of understanding the extent to which heated fluids
11 may have interacted with the rocks at the repository horizon,
12 and maybe gain some insights that will allow us to predict if
13 this is likely to happen again in the future.

14 Let me also say that fluid inclusions provide very
15 precise, very accurate quantitative results. And this is
16 both an advantage and a disadvantage. Of course the
17 advantage is that fluid inclusions can provide very accurate
18 data, but the disadvantage of that is many people then use
19 these data and make interpretations which by implication are
20 also very accurate and very precise; and in many cases that's
21 not true.

22 And what we'll look at today are some of the
23 capabilities and limitations of fluid inclusions. And what
24 I'll do is talk about what fluid inclusions are. I'll say a
25 little bit about some of the information that they can give

1 us, and then very briefly talk about some of the information
2 that we can't get very easily from fluid inclusions.

3 And just to give you an idea of what we're talking
4 about, this is a fluid inclusion. That fluid inclusion is
5 approximately 20 microns in diameter, so this is the fluid
6 inclusion here: it's this feature, and it contains two
7 phases. In this case it contains a liquid phase and a vapor
8 phase, and I'll tell you in a second how those phases come
9 about.

10 This particular fluid inclusion is contained in the
11 mineral quartz. This is not from Yucca Mountain, by the way.

12 And we're looking at this under a microscope in a thin
13 section of rock, looking at it at very high magnification.

14 Okay, so what are fluid inclusions? When minerals
15 form by precipitation from an aqueous solution, some of that
16 solution can be trapped in the mineral as a defect as the
17 mineral precipitates and grows. These microscopic droplets
18 of fluid are called fluid inclusions.

19 Also if a fracture develops in the mineral sometime
20 after it forms, fluid might enter that fracture, and then as
21 the fracture heals by later crystal precipitation, fluid
22 inclusions can be trapped along these fractures. And let me
23 just show you in this next slide, which is a schematic that
24 will illustrate what I'm talking about here.

25 So if we have a--imagine this is a mineral growing

1 here into some fluid phase, say a fracture, a lithophysal
2 cavity, and we might trap some fluid in a defect here and end
3 up with a fluid inclusion. If we look at this growing
4 mineral surface, if we look at it at the microscopic scale,
5 that mineral surface is often very irregular. It's not a
6 nice, smooth surface.

7 And fluid enters some of these depressions, these
8 irregularities, and then as the mineral continues to grow
9 over that irregularity it traps some fluid, and results in
10 fluid inclusions when we look at that mineral out--when we
11 look at that mineral under the microscope.

12 And so we might have several different generations
13 of mineral precipitation during each of these episodes
14 trapping fluid inclusions. Those types of fluid inclusions
15 we would refer to as primary fluid inclusions, trapped during
16 the growth of that mineral.

17 Now as a result of some thermal perturbation or
18 perhaps seismic activity we might fracture the mineral during
19 its growth, and fluid will enter this fracture. So if we
20 look over here, here we have a fracture, fluid enters that
21 fracture and traps some of that fluid as fluid inclusions as
22 the mineral continues to grow.

23 So these inclusions here that would be trapped
24 along a fracture during the growth of the mineral, we would
25 refer to as pseudo-secondary inclusions. They were not

1 trapped when that mineral was actually precipitated, but they
2 were trapped at some later time along a fracture, but still
3 during the growth of the general crystal.

4 And then sometime long after the whole crystal has
5 formed we might have a fracture that forms that goes through
6 the whole crystal, and fluid could enter that fracture and
7 form secondary fluid inclusions.

8 Of course these would be fluid inclusions that
9 would not be associated at all with the formation of that
10 crystal, but they would tell us something about the type of
11 fluid and perhaps the temperature that existed at this
12 location sometime after that crystal formed.

13 And here are some examples. This particular
14 mineral is a pyroxene. Again I won't be showing you many
15 examples from Yucca Mountain because I don't actually work on
16 Yucca Mountain. And you can see, these are all fluid
17 inclusions here, outlining former growth phases in this
18 pyroxene crystal. So these would all be primary fluid
19 inclusions trapped along these growth zones.

20 So obviously these fluid inclusions are older than
21 the fluid inclusions along this growth zone, and likewise
22 these here are then younger, and then progressively younger
23 as we go out. So by looking at the characteristics of these
24 fluid inclusions along these different growth zones we can
25 map out how the fluid has changed with time.

1 Here's another example. This is a calcite crystal
2 from a petroleum environment. Here is a little droplet of
3 oil that adhered to this crystal surface when this was a free
4 crystal surface growing out into a fracture, and then as the
5 calcite continued to precipitate it trapped that little
6 droplet of oil as a fluid inclusion.

7 And again, if we form fractures in the crystal
8 during growth we can trap secondary fluid inclusions. Here
9 are some examples. These trails--all of these--each one of
10 these little tiny black specks in here is a fluid inclusion
11 going through, cutting across these minerals.

12 So these would have been fractures that formed
13 after these quartz crystals formed, fluid entered those
14 fractures, and then as the fractures healed they formed
15 secondary fluid inclusions. Again--here's--again just planes
16 of what we call secondary fluid inclusion representing some
17 fluid that flowed through that rock after its formation.

18 Okay, what are some of the data that we can get
19 from fluid inclusions? Temperature; pressure; and I put
20 depth here in paren--or with a question mark, and you'll see
21 why in a minute; fluid composition, and sometimes from the
22 fluid composition we can infer the source of the fluid; and
23 then fluid timing, in other words what are the different
24 types of fluids that were in the rock and how did the fluid
25 composition change with time.

1 But let's take a look first at how we get
2 temperature. Now when we trap a fluid inclusion we assume
3 that the fluid inclusion traps just a single fluid phase. So
4 here's a large fluid inclusion, up at high temperature now, a
5 couple of hundred degrees, and it's filled with liquid. It's
6 filled with liquid, an aqueous solution at 200 degrees.

7 As that fluid cools, as that rock gets uplifted to
8 the surface it nucleates a little vapor bubble, and as we
9 continue to cool that mineral that vapor bubble gets smaller
10 and smaller until--larger and larger until we look at that
11 fluid inclusion today under the microscope at room
12 temperature and it contains a liquid phase and a vapor
13 bubble.

14 The reason that we generate a vapor phase in the
15 fluid inclusion is that the host mineral, the bottle if you
16 will, that the inclusion is contained in, is constant volume.
17 Its volume doesn't change very much as we heat it and cool
18 it, because the coefficient of thermal expansion for minerals
19 is fairly small compared to fluids.

20 The fluid, however, when we cool it its density
21 increases, or its volume decreases, and so it generates this
22 vapor phase in the fluid inclusion. So what we do in the
23 laboratory is we take this fluid inclusion and we reverse the
24 process. We heat the fluid inclusion up.

25 While we're watching it under the microscope the

1 bubble gets smaller and smaller until it disappears, and we
2 measure that temperature under the microscope as we're
3 heating it up, and then that temperature--which is referred
4 to as a temperature of homogenization--is a minimum
5 temperature for the formation of the mineral containing that
6 fluid inclusion.

7 Now I should point out here that the temperature
8 that we measure is a minimum temperature, and without going
9 into the details, this is a temperature pressure diagram for
10 --in this case--a water phase containing 20 weight percent
11 NaCl, and what I want to point out is that any fluid
12 inclusion trapped along this line, any fluid inclusion with a
13 20 weight percent composition trapped along this line, will
14 homogenize at 100 degrees. We call this line an isocore or a
15 line of constant volume.

16 And again, it's related to the fact that the bottle
17 or the mineral that the fluid inclusion is contained in
18 doesn't change its volume as we heat it. So in fact we
19 could have a fluid inclusion that was trapped up at 200 or
20 300 degrees and it would homogenize down here at 100 degrees
21 if the pressure was high enough.

22 Now for Yucca Mountain we don't have to worry about
23 this too much, because at Yucca Mountain the pressure was
24 relatively low, a few bars to perhaps a few tens of bars. So
25 what that means is that the temperatures that we get for

1 homogenization temperatures of fluid inclusions at Yucca
2 Mountain are very close to the real trapping temperatures for
3 those fluid inclusions.

4 Now the other piece of information that we can get
5 from a fluid inclusion is the pressure at trapping or at
6 formation. However, as geologists what we really want to
7 know is not so much what the pressure was, but what was the
8 depth? And it's not easy to convert the pressure into a
9 depth. This shows several models for how we can get
10 different pressures at the same depth, but let's just use a
11 simple example.

12 Let's imagine that I had a cardboard box here about
13 this high, and if I had that cardboard box just filled with
14 air and sitting on a scale, a balance, it would weigh some
15 small amount. If we filled that box with water it would
16 weigh more. If we took that water out and filled it with
17 rocks it would weigh even more.

18 And so we can--that's the concept that depending on
19 what is above that fluid inclusion, above that mineral when
20 it forms, we can get very different pressures at the place
21 where it formed.

22 So here's a place where we're forming a fluid
23 inclusion and the fracture is filled with water up to the
24 surface. Here's a case over here where we're forming a fluid
25 inclusion, we have water for some depth in the fracture and

1 then vapor or air for some depth above that. So obviously
2 even though these two fluid inclusions are forming at the
3 same depth, they would have different pressures.

4 And this is actually very relevant to Yucca
5 Mountain because we may have a situation something like this,
6 where we have partially water filled fractures or--that are
7 open to the surface with air. And so we have to be careful
8 in terms of converting a pressure to a depth.

9 Now fortunately again at Yucca Mountain the current
10 depths in the mountain are probably very close, if not
11 identical, to the depths when the minerals formed, so we can
12 actually use the present day depth as we work with our
13 pressures.

14 Okay, now composition--composition of fluid
15 inclusions is a very important piece of information because
16 it can tell us something about the source of the fluid, but
17 we're faced with this problem, that we're generally working
18 with very small amounts of fluid. A 10 micron fluid
19 inclusion, which would be a typical fluid inclusion, contains
20 5 times 10^{-10} grams of solution.

21 To put this another way, it would take two billion
22 --that's billion with a B--two billion of these fluid
23 inclusions to fill up a thimble, about one cubic centimeter.

24 So we're talking about very, very small amounts of fluid--
25 not easy to work with.

1 There are some techniques that we can use. The one
2 that we use very commonly is to freeze the fluid inclusion,
3 and the idea here is that if we freeze pure water it freezes
4 or melts at zero degrees. If we add salt to that water we
5 depress that freezing temperature and so we know that if we
6 add a certain amount of salt, instead of the water melting at
7 zero degrees it'll melt at some lower temperature.

8 So what we do is we take a fluid inclusion, cool it
9 down until we freeze it, so here now it contains ice. You
10 can see how the vapor bubble has been distorted. And we
11 begin to heat it up, and at this point it starts to melt.
12 You can start to see this granular texture. This temperature
13 here tells us something about what salts are in the fluid
14 inclusion.

15 Now you can see that we start to form some nice,
16 discrete ice crystals, so this is water ice in a liquid
17 phase. And we just continue to heat it, watching until this
18 last tiny little ice crystal melts. We measure that
19 temperature and we can refer that temperature then to
20 experimental data for the depression of the freezing point
21 and convert that into a salinity.

22 And of course this is relevant to Yucca Mountain
23 because if we have pure water in the fluid inclusions at
24 Yucca Mountain, that might tell us something different than
25 if we had five or 10 weight percent NaCl or salt solutions in

1 those fluid inclusions, relative to whether the fluids
2 originated on the surface or originated at depth.

3 AT Yucca Mountain--now these actually are
4 inclusions from Yucca Mountain, and I'd like to thank Yuri
5 Dublianski for letting me borrow this slide. There are some
6 all gas inclusions that have been recognized at Yucca
7 Mountain, and these are two. And they don't contain any
8 visible liquid. They just appear to contain vapor or gas.

9 And I think that these are probably critical to
10 understanding the origin of the fluids at Yucca Mountain. If
11 these turn out to be air, that has different implications
12 concerning the origin of the fluids than if those gas
13 inclusions contain methane or CO₂ or some other gas that we
14 might be expecting to come up from depth in hydrothermal
15 fluids. So I think that these might be important to study to
16 try to understand the origin of some of the fluids.

17 A technique that we use in my laboratory to analyze
18 gas inclusions is Raman Spectroscopy. This is--what we're
19 looking at here is a microscope with a green laser coming
20 down through it, and we can put the mineral specimen here
21 under that microscope and zap it with an argon ion laser.
22 That gives off a signal, a characteristic signal that we can
23 detect and use that to tell which gases are in the fluid
24 inclusion. So we can identify things like nitrogen and
25 methane and carbon dioxide and other gases that might be

1 indicators of the source of those fluids.

2 Getting back to this diagram, I put this up here to
3 remind me to tell you that one of the things we can get from
4 the fluid inclusions is the relative age of the fluids.
5 Again, obviously primary inclusions trapped along this growth
6 zone would have been earlier than primary fluid inclusions
7 trapped along this growth zone.

8 So we can look at the relative ages of the fluids,
9 and obviously fluid inclusions trapped along this fracture
10 would be later than any of the primary fluid inclusions
11 trapped anywhere in that crystal. So fluid inclusions give
12 us a good handle on relative ages of fluids.

13 Now that leads me into what we can't get from fluid
14 inclusions. And the one piece of information that we would
15 dearly love to have for Yucca Mountain, because it would
16 answer a lot of the unanswered questions, is the absolute age
17 of those fluid inclusions, especially if we find fluid
18 inclusions that indicate high temperature.

19 We want to know, are those fluid inclusions nine or
20 10 million years old and perhaps associated with the original
21 volcanic event, or are they are few hundred thousand years
22 old, in which case they have important implications for the
23 safety of the repository.

24 The absolute age is something that's very difficult
25 to get, and generally what we do is we try to determine the

1 age of the host mineral that is adjacent to that fluid
2 inclusion. But there are a lot of uncertainties associated
3 with that, and sometimes it works and sometimes it doesn't.

4 And then the other piece of information which would
5 also be very beneficial, very useful in terms of
6 understanding whether the fluids were coming from depth and
7 rising up, or percolating down, obviously is the source of
8 the fluid which we might be able to get from compositional
9 analyses in some case.

10 But again, because of the small size of the fluid
11 inclusions we're limited in terms of our ability to determine
12 the source, and even if we can determine the composition of
13 the fluid inclusions many times that composition is
14 equivocal. It could be interpreted either way as being of a
15 deep source or of a surface source. It's not definite that
16 it's one or the other. So it really doesn't answer our
17 question.

18 Okay, so the question related to Yucca Mountain
19 then is what's the probability that heated ascending fluids
20 will reach the repository horizon in the future. This is one
21 of the questions that we're trying to get at with fluid
22 inclusions.

23 In geology there's a concept, a theory, called
24 Uniformitarianism which says the present is the key to the
25 past. And what that means is that we assume that processes

1 that are working on the earth today, plate tectonics and
2 volcanism and erosion and things like that, those processes
3 that are working today also operated in the past.

4 So if we study present day systems we can
5 extrapolate those back into the past to try to understand
6 what happened on earth at some time in the geological past.
7 Well I've turned this around here, and what I'm saying is the
8 past is the key to the future.

9 If we can understand what went on at Yucca Mountain
10 over the last 10 million years in terms of fluids and the
11 thermal history, if we can understand that, that may then
12 help us to understand what's going to happen in the future at
13 Yucca Mountain.

14 Here's Yucca Mountain today, and of course many of
15 you are familiar with this. Here's how Yucca Mountain
16 formed, according to the propaganda that's underground at
17 Yucca Mountain--I think this is from underground--yeah, it
18 is--obviously a very explosive volcanic event.

19 So we know that the thermal history, the physical
20 environment at Yucca Mountain has changed from the time that
21 it originally formed until today when it's a very quiet,
22 peaceful place. What we want to try to understand is how
23 things changed during that 10 or 12 million years.

24 And some of the questions that we have, have fluids
25 moved through Yucca Mountain in the past? What was the

1 temperature of the fluids, and what was the source of the
2 fluids, if there were fluids moving through there? And
3 perhaps the most important question, when did that fluid
4 migration occur at Yucca Mountain?

5 So I'm going to tell you right now that I don't
6 have the answer to any of these. I'm going to defer those
7 answers to Dr. Cline, who is going to follow.

8 But these are the questions that I think we have to
9 answer if we want to try to understand if there's been
10 hydrothermal activity in the past at Yucca Mountain: how
11 episodic has that been or how common has that been; when did
12 it occur; specifically did it occur very recently; and what
13 is the likelihood that that could happen in the future.

14 I'll just finish up here. These are some of the
15 features that of course led to the initial hypothesis that
16 there may have been hydrothermal activity at Yucca Mountain.

17 Many people interpret these to be the result of down-moving
18 fluids or descending fluids. Some have interpreted these to
19 be the result of upwelling fluids.

20 And again I acknowledge Yuri Dublianski for the
21 loan of this slide and the next one, showing some of the
22 various occurrences of calcite in the ESF in different
23 fractures and lithophysal cavities. It's pretty clear that
24 there were fluids there that deposited those minerals. The
25 question is when were those minerals deposited and what was

1 the extent of fluid activity.

2 And I'll finish up with this slide and the
3 application of fluid inclusions to Yucca Mountain. What I've
4 put on here, this is my opinion, my biased opinion, in terms
5 of the confidence level that we can use to determine these
6 various pieces of information that we would like to have.

7 And I think that we can determine the temperature
8 of formation of the fluid inclusions and the relative age of
9 the fluid inclusions in the calcite and the other secondary
10 minerals at Yucca Mountain with a high degree of confidence.

11 We can get the fluid composition and pressure, not as well
12 perhaps as we would like to, but probably well enough to
13 understand the source of the fluids.

14 Depth and source of the fluids, this probably
15 should be moved up, because we really do know the depth since
16 the depth is the present day according to all erosion models.

17 Of course source of the fluids, I think we're going to have
18 a hard time determining that. The results so far that I've
19 seen appear to be equivocal. There's nothing diagnostic that
20 we could point to and say yes, that had to be from the
21 surface or that had to be from depth.

22 And then of course the absolute age of the
23 inclusions, and I think that many of the people working on
24 fluid inclusions at Yucca Mountain recognize that this is
25 something critical to determine. I think everybody

1 recognizes how difficult that will be, but everyone also
2 recognizes that if we're able to do that, that this then can
3 provide the answer to many of the questions we have about
4 past hydrothermal activity at Yucca Mountain and the
5 probability for future hydrothermal activity.

6 And with that, I'll stop. Thank you.

7 RUNNELLS: Thank you very much, Bob. That's very
8 informative. We have time for questions from the Board or
9 from the staff. Yes, Jerry Cohon.

10 COHON: You talk about relative age. Relative to what?

11 BODNAR: Relative to each other, so if we have two--we
12 use the term fluid inclusion assemblage, and a fluid
13 inclusion assemblage represents a group of fluid inclusions
14 that were all trapped at the same time. We determine that
15 based on petrography.

16 In other words if all of the fluid inclusions are
17 along a growth zone we assume that all of those fluid
18 inclusions were trapped at the same time. Or if all of the
19 fluid inclusions are along a fracture, we assume that all the
20 inclusions along that fracture were formed at the same time,
21 from a geological perspective.

22 And so when I say relative timing, what I mean is o
23 ne fluid inclusion assemblage, the age of that fluid
24 inclusion assemblage, relative to some other fluid inclusion
25 assemblage. We can say that this one is earlier or this one

1 is earlier, so in a relative sense we know their ages but we
2 don't know in an absolute sense whether that age is 100,000
3 years or one million years or 10 million years.

4 COHON: Just to follow up, you talked in the earlier
5 part of your presentation about using dating of the host
6 mineral as a way to get the absolute age. Does Yucca
7 Mountain present particular problems in that regard or is
8 that just the problem everywhere?

9 BODNAR: It's a problem everywhere, and the reason it's
10 a problem is that I showed some idealized sketches with nice
11 primary growth zones, and I showed you classic examples of
12 minerals showing growth zones.

13 In reality I would say that 99 plus percent of all
14 the minerals that you look at don't show those. Instead they
15 just show a mish-mash, a random distribution of fluid
16 inclusions, and it's very hard to determine that the fluid
17 inclusion that you're looking at was trapped at the--was
18 trapped when the mineral that's adjacent to it precipitated.

19 In other words you have a fluid inclusion. Maybe
20 that fluid inclusion was trapped when that mineral grew
21 there, but it could have been trapped at some time long after
22 that, perhaps along a fracture, and we can't identify it as a
23 fracture as such because there are so many fluid inclusions
24 that the fracture behavior just disappears and we just see
25 this large number of fluid inclusions that don't appear to

1 have any constraints. They're not constrained to growth
2 zones, they're not constrained to fractures.

3 So it's a problem in general with fluid inclusions.
4 It's perhaps a little bit more of a problem at Yucca
5 Mountain simply because we have often less mineral to work
6 with, which means you have less opportunity to look around
7 and find good examples of where you can say yes, this fluid
8 inclusion was definitely trapped at the same time as the
9 mineral that's adjacent to it.

10 RUNNELLS: Priscilla Nelson.

11 NELSON: Nelson, Board. I'm aware of some fluid
12 inclusions that you can actually see, that there might have
13 been a gradient, be it pressure or temperature or something
14 that actually caused a movement, maybe solution
15 precipitation, some sense of moving of a fluid inclusion
16 after it's been formed in a mineral.

17 BODNAR: Movement after the fluid inclusion was formed?

18 NELSON: Yeah. Maybe some of it in salt. But in cases
19 where there is a thermal gradient where you might actually
20 have such a thing happen--but these are so small you wouldn't
21 expect them to show that in Yucca Mountain, is that true?

22 BODNAR: Well I don't think it's the size that's a
23 limiting factor. And you're right, that in halite--in halite
24 you can actually watch the fluid inclusions migrate through
25 the salt if you subject it to a thermal gradient. It's

1 simply because salt has such a high solubility in the aqueous
2 solution that it can do that.

3 For any of the minerals that are being considered
4 at Yucca Mountain, calcite, quartz, perhaps fluorite and
5 barite, the solubilities of those minerals are so low at
6 temperatures less than 100 degrees that even over geological
7 periods of time, if they were exposed to a gradient, the
8 amount of migration would not be detectable.

9 So I don't think it's a problem for Yucca Mountain.

10 RUNNELLS: A question from Leon Reiter of the staff.

11 REITER: Leon Reiter, staff. Bob, I don't know if you
12 can answer this question or Jean can, but then given all
13 these limitations what's the strategy for getting meaningful
14 answers out of the study?

15 BODNAR: Well maybe I should--maybe we should let Jean
16 make her presentation. I want to point out the problems, but
17 I don't want you to take that as it's impossible to get the
18 answer. It's just that we have to be careful, and we have to
19 be careful not to overinterpret the data.

20 And I think that everybody who's involved now and
21 is working on this fluid inclusion project, I think is aware
22 of these problems. So I don't think that those problems will
23 be overlooked during the course of this study.

24 I mean I think that going into the project, I think
25 everybody--and maybe I'm speaking out of turn here--but I

1 think everybody understood in the back of their mind that
2 there was the possibility that after some period of time,
3 doing very careful, very high quality scientific work, that
4 we still might not have an answer. Sometimes science works
5 like that, that you just can't solve the problem using the
6 technology that's available.

7 RUNNELLS: Any other questions from the Board? Yes,
8 Alberto Sagüés.

9 SAGÜÉS: Yes, what other techniques, independent
10 techniques would be there to corroborate the results of, for
11 example, your temperature estimates? They give you a sample,
12 you look at the bubbles, and do the test and you say okay,
13 this formed at, for example, 85 degrees Centigrade. But is
14 there something else that you can do with the sample that
15 would give you -- information, maybe not as precise?

16 BODNAR: Yes, of course. And I think that the USGS has
17 done a lot of this by comparing fluid inclusion temperatures
18 with stable isotopic temperatures.

19 And based on the partition coefficients, which are
20 temperature dependent, you can make an estimate of the
21 formation temperature of the calcite from the isotopic
22 composition. So there--there's that approach.

23 There are also mineral geothermometers, but I don't
24 know that there are any of those that are really relevant and
25 applicable at Yucca Mountain. Maybe some of the others of

1 you who are working more on this could comment, but I don't
2 think there are really any mineral geothermometers.

3 Joe, do you know of any? So I think isotopes would
4 probably be the best technique, and it does seem to work.
5 Again there's always the problem of, you know, which fluid
6 inclusions were trapped at the same time as that mineral
7 that's being analyzed.

8 RUNNELLS: Any other questions from the Board or from
9 the staff?

10 Let me ask a question, Bob. I think you probably
11 answered it in answering Jerry Cohon's question, but if the
12 issue--if one of the issues is whether the fluids were moving
13 up those veins, those fractures, or the fluids were moving
14 down those fractures, is there anything in the shape of the
15 fluid inclusions or the shape of the crystals that would tell
16 you, oriented relative to the wall of the fracture, would you
17 tell you whether the fluids were going that way or that way?

18 I mean have you seen examples where they grow
19 longer down--down gradient, down the flow direction?

20 BODNAR: I have seen evidence, not at Yucca Mountain,
21 but I have seen evidence in other places where we can
22 determine direction of fluid flow. And in fact the example
23 that I showed early on with the petroleum fluid inclusion,
24 that's from the Monterey formation in California. And there
25 the oil inclusions all occur on one face, on one side. They

1 don't occur on the other side.

2 And the people that--this is when I worked at
3 Chevron--and the people at Chevron who worked on flow
4 modeling said, you know, that showed that the fluids were
5 moving, I guess it was from the direction where the oil
6 droplets were.

7 It was--the oil droplets were on the down flow
8 side, so they were coming over the top and kind of settling
9 out on tops of crystals. And so in that case we could get a
10 sense of flow direction. Yucca--I guess I don't know enough
11 about that to really say if we can do it at Yucca Mountain.

12 But let me just add a caution that at a given place
13 where the fluid inclusion is forming, maybe it isn't so
14 important whether the fluid is moving up or down, because I
15 could imagine a scenario where we have a fluid that comes up
16 and then moves back down the walls.

17 And so whether it's moving up or down at that
18 particular place might not tell us anything about the actual
19 source of that fluid, whether the source was there or the
20 source was up here.

21 RUNNELLS: As I understand the issue though at Yucca
22 Mountain, in these particular features that you showed in
23 that trench, it's a question of fluids coming up those
24 fractures and then flowing down the hillside.

25 BODNAR: That's correct.

1 RUNNELLS: Anyway, it's something that perhaps--

2 BODNAR: Yeah--

3 RUNNELLS: --somebody can look at the textures.

4 BODNAR: Yeah, now I don't know if anybody has found
5 fluid inclusions in that trench 14--

6 RUNNELLS: Okay.

7 BODNAR: --or any of those surface--let's just call them
8 surface deposits. Joe, do you know? Does any--

9 SPEAKER: Not that I'm aware of.

10 BODNAR: I don't think anybody has seen fluid inclusions
11 in that material, because it's really fine grains and dark
12 and not really amenable to fluid inclusion.

13 RUNNELLS: I think that's the answer to my question
14 right there.

15 BODNAR: Thank you.

16 RUNNELLS: Thank you, Bob. Any other questions from the
17 Board or staff? Okay, well thank--oh, I'm sorry, Dick
18 Parizek.

19 PARIZEK: Parizek, Board. Can you tell whether it's
20 saturated or unsaturated if you inclusions -- that?

21 BODNAR: Are you going to address that? Vadose zone
22 versus phreatic. We've talked about that a lot, and can I
23 mention--

24 CLINE: Sure.

25 BODNAR: We actually had--one of the meetings we had out

1 here in November, we had--Jean invited Professor Goldstein
2 from the University of Kansas, who's a real expert in vadose
3 phreatic zone fluid flow. He works on fluid inclusions, and
4 that's his specialty. And we invited him out.

5 And he pointed out a lot of textures that we could
6 look at in the rocks which combined with the fluid inclusion
7 could help to say something about whether it was saturated,
8 unsaturated. And the project now, the UNLV project, is
9 applying those tools and those techniques to the samples, and
10 starting to see a lot of textures that are indicative one way
11 or the other.

12 And it's probably not fair for me to talk about
13 that because it's not my work. But yes, they are seeing
14 textures that are starting to be able to distinguish between
15 saturated and unsaturated zone trapping; textures that have
16 been used by people in the petroleum industry and people
17 studying shallow surface deposits have developed over the
18 years. And many of those I think are applicable to Yucca
19 Mountain.

20 RUNNELLS: Okay, well thank you again. I think we'd
21 better close and move on to the next speaker.

22 The next speaker is Dr. Jean Cline. She received
23 her Ph.D in geochemistry, also from--well not also--but from
24 Virginia Tech University, where she worked with Professor
25 Bodnar. In other words she is also a Hokie, and we also

1 must offer our condolences to Jean.

2 She presently is an associate professor at the
3 University of Nevada Las Vegas where her primary research
4 interest is fluid inclusion. And her talk will be focused
5 more directly upon the studies at Yucca Mountain. Jean?

6 CLINE: Thank you. I'd like to thank the Board for the
7 opportunity to present some of the preliminary information
8 from this project. I understand that this project actually
9 came about a result of the Nuclear Waste Technical Review
10 Board recommending to DOE that they consider funding such a
11 project.

12 And what I'd like to do today is outline the major
13 goals of the project. I'll tell you about the preliminary
14 work that we have done, I'll provide you with some
15 observations that we have made to date, and then I'll talk
16 about some of the work that we will continue to do over the
17 next year.

18 I think most of you know that this is a two-year
19 project. We actually began work on the project in April of
20 1999, and work will continue until spring of 2001. I'd like
21 to briefly tell you about the people that are working with me
22 on this project. Nick Wilson is a post-doctorate fellow who
23 received his Ph.D from Dalhasie (phonetic) University in
24 Halifax.

25 I asked Nick to join this project. I selected him

1 from a number of applicants based primarily on a great deal
2 of expertise that he gained during his Ph studies in doing
3 some very detailed petrographic work. I thought that this
4 was really the most critically important aspect.

5 It was essential that the person who ended up
6 working on this project with me fully--first of all was
7 willing to spend a lot of time looking down a microscope, and
8 secondly really recognized how incredibly important it was to
9 make those observations.

10 Sarah Lundberg has joined the project. She is our
11 electron microprobe technician. Sarah recently received a
12 masters degree from New Mexico Institute of Mines and Geology
13 in Socorro. She spent a couple years there working on a
14 microprobe at that university.

15 And the third person on the project working with me
16 is Joel Rodert. Joel is a graduate student at UNLV. Joel
17 was very involved in the sampling that was done, our sampling
18 program early on, and he continues to be involved in data
19 gathering and data manipulation.

20 When I was constructing the proposal for this
21 project I came up with what I thought were the foremost
22 important questions that we needed to address and to try to
23 answer in this project. First of all, do populations of
24 fluid inclusions that indicate the recent influx of thermal
25 waters into the repository site actually exist.

1 Secondly, if these inclusions are present, what
2 temperatures do they tell us. If these inclusions are
3 present when were these inclusions trapped? In other words
4 when did this thermal influx take place? And then finally,
5 if an influx did occur, how widespread within the repository
6 site was this influx?

7 What I've done is divide the project in to five
8 different phases, and I'd like to describe these two you.
9 These phases are phases which the rock samples that we have
10 collected can move through individually, so multiple phases
11 are actually going on at the same time with different
12 samples. So we don't just complete Phase I and then move on
13 to Phase II and so on.

14 Phase I involves first of all collecting
15 approximately 200 samples from throughout the ESF and the
16 ECRB cross drift. We then needed to have polished sections
17 prepared from each of these samples, and we began the search
18 for two phase fluid inclusions with consistent liquid vapor
19 bubbles.

20 Phase II is really the critically important part of
21 this project, I believe. I can't overemphasize this enough.

22 And it involves doing a very detailed characterization of
23 each of the sections from each of our samples. And our goal
24 here is to produce a time map for each of our sections that
25 documents the progressive growth of the calcite and the other

1 minerals in these samples.

2 We simply cannot constrain the timing of the fluid
3 inclusions unless we first constrain the timing of the
4 minerals in which these inclusions occur. So this is a
5 critically important part of this study.

6 Phase II then involves continued characterization
7 of the fluid inclusions, more detailed work, locating all of
8 the two phase fluid inclusion assemblages, determining
9 inclusion origins--are these inclusions primary or are they
10 secondary, and then determining the relative ages of the
11 assemblages based on their origins and locations within the
12 section time maps, something that Bob referred to previously.

13 Phase III involves the fluid inclusion part of the
14 study. Principally what we will be doing is conducting
15 microthermometric studies to determine the minimum trapping
16 temperatures and also to determine the salinity of the fluid
17 inclusion assemblages.

18 We will also do some crushing studies. These are
19 studies that are done in an effort to get at pressure of
20 trapping. These are more difficult to do, and we may or may
21 not be able to actually accomplish this. We also will
22 brainstorm, see what other ideas we can come up with to do
23 other sorts of analytical studies to try to identify
24 inclusion fluid compositions.

25 Phase IV is the geochronology portion of the study,

1 and what we will do really as we're moving through the rest
2 of the study is to try to select samples for geochronological
3 studies that will provide maximum and minimum ages for the
4 primary two phase fluid inclusion assemblages.

5 The best we can do with secondary fluid inclusions,
6 because they simply crosscut the mineral and are younger than
7 the mineral itself, is to determine maximum ages for
8 secondary fluid inclusion assemblages. And I'll explain this
9 in a bit more detail in a little while.

10 We will prioritize our samples based on
11 inclusion origin. We can constrain the primary inclusions
12 probably better than we can the secondary inclusions. And
13 also on inclusion location in the younger portion of the
14 samples we recognize that it's the young ages that we're most
15 concerned about.

16 So we will be looking in the younger mineral bands,
17 and this gets back to doing this petrographic study early on.

18 We need to be able to identify the relative ages of the
19 mineralogic bands within these samples.

20 Then we hope to integrate uranium lead and uranium
21 series dates with the other observations that we've made with
22 stable isotope data, with petrograph, with trace element
23 chemistry, cat. luminescence, to further constrain
24 inclusion ages.

25 When I began constructing this proposal I

1 recognized that this particular issue is a very controversial
2 issue. And so I thought it was worthwhile to make an effort
3 to try to maintain communication with interested parties
4 during the progress of this project, to try to keep
5 interested people up to speed on what we were doing, with a
6 goal that when the project is concluded that there is a
7 broader understanding of what we've done, a broader
8 understanding of the data that's been collected, and
9 understanding of how that data was collected and perhaps a
10 broader appreciation of some of our conclusions.

11 So with that goal in mind, what we are doing is
12 holding approximately quarterly meetings. And the UNLV group
13 is meeting with scientists that represent DOE and the State
14 of Nevada as well as an independent expert, who is Dr.
15 Bodnar.

16 And during these meetings we basically get together
17 in my lab, we look at samples, we look at thin sections, we
18 look at data. We will collect data together, fluid inclusion
19 data, probably microprobe data. We discuss hypotheses, we
20 discuss observations, interpretations; we argue about things;
21 and we--our goal really is to, as we conduct this project, to
22 maintain a consensus at each step during the study.

23 If we can continue to do this, then when the
24 project is completed we should all be well aware of the
25 strengths and the weaknesses of the data, and there should be

1 some agreement.

2 Okay, next what I'd like to do is focus in on what
3 we've done to date. This I'm sure you recognize as a map of
4 the ESF and the ECRB. The numbers are not important, but
5 they are the location numbers within the tunnels, and these
6 numbers represent our sample locations.

7 Our sampling strategy was really to collect
8 approximately 200 samples and to collect samples of every
9 type of calcite, every type of mineralization that we
10 observed within the tunnel. And you can see that we have a
11 pretty good sampling density.

12 There are a couple areas where samples are a bit
13 sparse. There either is no secondary mineralization in those
14 localities or those localities are shotcreted and the walls
15 are not available for sampling.

16 The color code here is based on the type of calcite
17 that was collected. The black numbers represent calcite and
18 secondary minerals that were collected from lithophysal
19 cavities. The red--actually is--yeah, red color coded
20 samples were collected from fractures, and blue color coded
21 samples were collected from breccias.

22 I should point out--you're probably aware of this--
23 we're showing the ECRB here. It actually exists right here.

24 You can see that there is some stratigraphic and some
25 structural control to our sampling. For example lithophysal

1 cavity samples are quite concentrated here as well as
2 throughout the ECRB.

3 This is simply where the secondary mineralization
4 was in that area. If we look down here at the intensely
5 fractured zone you see no lithophysal cavity samples, but
6 fracture and breccia samples.

7 Okay, as I said, the next step was to have polished
8 sections made from each of these samples. One of the two
9 bottlenecks that we've run into on this project is getting
10 sections prepared. This is a fairly involved procedure and
11 needs to be carefully temperature controlled.

12 But I'd like to show you what two of those sections
13 look like in general. This is a blowup of a polished
14 section. The scale across the bottom here is about 4-1/2
15 centimeters, and this probably one of the more complex
16 samples which we've collected.

17 What we see when we look at these more complicated
18 samples are bands of mineral growth. Principally what we
19 have is calcite, but there are also silica minerals present.

20 And in looking at a number of these more complex samples,
21 we've been able to put together a crude stratigraphy which
22 follows through in at least some of the samples.

23 And that stratigraphy consists of calcite
24 mineralization at the base, then bands of some silica
25 minerals, calcedne, opal and quartz. Overgrowing those bands

1 would be another zone of calcite, and then this outermost
2 band is a very clear calcite which is generally accompanied
3 by some clear opal bands.

4 I should say that all of our sections were cut
5 parallel to the growth of the sample. Okay, so this would be
6 the base of the sample that was collected from the
7 lithophysal cavity. What you see down here are remnants of
8 tuffs, and in a general way this sample grew in this
9 direction. Older bands of mineral down here, and then you
10 see these nice two hydrocrystals at the top there, the
11 youngest growing surfaces.

12 As I said, this is sort of a generalized
13 stratigraphy for these samples. What we know now though is
14 that there are some complications to this stratigraphy.
15 We've recognized textures that tell us that mineral--that
16 replacement has occurred at least in some areas.

17 In other words we see textures that tell us that
18 minerals that were originally deposited have been dissolved
19 and removed, and that secondary minerals have replaced them.

20 So there is a potential for some of these bands to
21 essentially be out of place.

22 In other words it's not just simply old to young as
23 you go in this direction. And this is what we really have to
24 characterize in order to really carefully and correctly
25 constrain the relative timing and then the absolute timing of

1 the fluid inclusions.

2 To date our work to put together these time maps,
3 if you will, for each of these sections has involved
4 petrography. The second bottleneck that we've had has been
5 getting the electron microprobe up and running. The
6 instrument was delivered in July and it's only up and running
7 as of last week. So that was quite a surprise.

8 But nevertheless we have begun to characterize the
9 trace element chemistry, and we are hoping that subtle
10 distinctions in trace element chemistry in these sections
11 will provide clues that will help us clarify the details of
12 the growth history.

13 We will also be using cathode luminescence and
14 also we will be doing some oxygen and carbon isotope analyses
15 on these, both rather conventional methods, and we will try
16 using ion probe in situ methods as well. All of these things
17 will be done again to determine the continuity and the
18 relative timing of these different mineral bands.

19 Okay, here are the fancy sections. This is what
20 some of them look like. And these sections really tell us a
21 lot. They texturally give us a lot of information about how
22 those minerals grew. Here, however, is how many of the other
23 sections look.

24 This is tuff, and here is a little bit of calcite--
25 all looks pretty much the same. So not a lot of textural

1 evidence telling us much about the growth history of that
2 calcite. Did that calcite grow over 10 million years, did it
3 grow over 100 years? Difficult question to answer at this
4 point.

5 An initial working hypothesis we had when we
6 started to look at the petrography of these sections was that
7 perhaps sections like this recorded the complete history of
8 mineralization of this calcite, and that most or perhaps even
9 all of the bands of mineral deposition were captured by these
10 samples. And we thought that perhaps what we saw here was
11 one event in this other section, and what we needed to do was
12 try to find fingerprint of some sort to figure out which
13 event that was.

14 But now that we are getting close to having all of
15 our sections, now that we have looked at most of our sections
16 in context of the location of their sample sites within the
17 ESF and the ECRB, what we are starting to see, perhaps, is
18 that there are different stratigraphies in different parts of
19 the repository site. Okay.

20 So maybe this is not an event that's part of that
21 other section. Maybe it's a separate event. So that's a
22 question that we have and that we will be attempting to
23 answer.

24 Where we are today is that we have constructed
25 growth histories for most of the sections that we have

1 collected. What we need to do next is to try to connect
2 those. Okay. And so this is where we'll be using trace
3 element chemistry as well as the petrography, cathode
4 luminescence, isotope analyses, to try to see if there are
5 mineralogic bands that are distinctive in some way, that have
6 some fingerprint, some chemical fingerprints, some isotopic
7 fingerprint, some luminescence, so that we can connect one
8 sample site to another sample site.

9 If we can do that we can maybe identify timelines
10 that are continuous across part of the repository site. And
11 if we can construct these timelines, then we have a greater
12 chance of trying to pin down the absolute age of some of
13 these timeline.

14 Then what we can do is go back to our sections,
15 look for the location of fluid inclusion assemblages relative
16 to those timelines. Any inclusions that are in a mineral
17 band that's older than that timeline would be older than that
18 timeline. Conversely, inclusion assemblages in minerals that
19 are younger than that timeline would be younger. And this
20 will give us much greater control, age control, in trying to
21 constrain the ages of these inclusions. So this is a major
22 focus for where we're at right now.

23 Okay, let's look at the fluid inclusions. Okay,
24 these are a bit subtle, but this is as good as they get.
25 This is a fluid inclusion right here. This sort of blue line

1 is the outline of the fluid inclusion. This region right
2 here is filled with fluid, and here is our vapor bubble--
3 considerably smaller than some of the inclusion bubbles that
4 Bob just showed us.

5 If we look around we can see that within this
6 section, at a different focus level unfortunately than this
7 inclusion, we have here an inclusion and a vapor bubble,
8 here's an inclusion and a vapor bubble, an inclusion and a
9 vapor bubble, an inclusion and a vapor bubble--they're
10 definitely hard to see when they're projected--here's another
11 inclusion and a vapor bubble.

12 And the important observation to make on this slide
13 is that the liquid vapor ratios within these inclusions are
14 pretty constant. Smaller inclusion, smaller bubble. That
15 tells us that this is probably a fluid inclusion assemblage.

16 That means that all of these inclusions were trapped at
17 about the same time, and they represent a legitimate set of
18 fluid inclusion which can be used to give us a legitimate
19 temperature.

20 Okay, where are we today? Today we've looked at
21 sections from 151 samples that we have collected, and we have
22 observed two phase inclusion assemblages in 44 percent of
23 those samples. The location of those, we go back to our map,
24 the sample sites for samples that contain these two phase
25 FIAs are in some cases concentrated.

1 For example these lithophysal cavity samples here
2 and here, almost all of them contain two phase fluid
3 inclusion assemblages. However, two phase fluid inclusion
4 assemblages are scattered pretty much throughout both the ESF
5 and the ECRB. They are leaner in some areas, but they are
6 nevertheless present.

7 Okay, where are the inclusions in individual
8 samples? In samples that look like this, most of the fluid
9 inclusions--most of the fluid inclusion assemblages are in
10 the calcite that is closest to the top. So they--so most of
11 the inclusions are in what is probably the older part of the
12 sample, although there are still details here that we need to
13 sort out.

14 In some samples, however, there are inclusion
15 assemblages in this area and also inclusion assemblages in
16 some of this sort of central calcite band. Okay. This very
17 outermost calcite band, which is present in only some of the
18 samples--not all of them--which is a very clear calcite
19 accompanied by very clear opal, we have not identified any
20 fluid inclusion assemblages in that particular calcite, two
21 phase fluid inclusion assemblages.

22 When we look at samples that look like this, some
23 samples have two phase FIAs, some samples do not. Here we
24 are missing textural evidence that really tells us something
25 about relative timing of the formation of this calcite. So

1 these are tough samples; these are going to be tough to
2 figure out.

3 Okay, where we're at today, we are continuing to do
4 petrographic work. We've not completed that yet. We are
5 continuing to refine our understanding of the growth history
6 of these sections. We are completing our examination of
7 these sections to identify the location of all of the two
8 phase fluid inclusion assemblages.

9 We are just beginning the trace element
10 geochemistry work and the cathode luminescence; and in the
11 next couple months we will also begin doing some carbon and
12 oxygen isotope work to try to help understand with this
13 growth history.

14 Obviously what we're ultimately moving forward is
15 to doing some dating. We are limited--we know from prior
16 work that the Survey has done that we are limited to what we
17 can actually date. We can use uranium lead techniques to
18 date uranium-bearing opal, and we can use uranium series
19 dating methods to date some of the youngest calcite. So it's
20 not going to be easy.

21 But we think that at least if we can put together
22 some of these--if we can in some way identify how to
23 correlate these discrete sample sites, that will help us
24 greatly. It may be that they don't correlate. We may not be
25 able to do this, and that will be an important finding as

1 well.

2 To summarize, let's see, what I think are probably
3 our most important observations to date, these are all things
4 that I mentioned during the talk; but first of all--and this
5 first one is sort of preliminary. It's really something that
6 we're shooting at right now. But it appears that perhaps in
7 different regions in the ESF and the ECRB there are distinct
8 stratigraphies. So we don't know how these areas actually
9 connect.

10 Secondly, this is probably an important one, two
11 phase FIAs are present in 44 percent of the samples that we
12 have collected. The sites of these samples are locally
13 concentrated, but they are distributed throughout the ESF and
14 the ECRB.

15 And then finally most FIAs are present in the
16 calcite adjacent to the tuff, but some of them are in the
17 inner calcite band and then in those samples where we really
18 have no zoning, some of them contain two phase FIAs as well.

19 And we really have no constraints at this point on relative
20 timing of trapping of those inclusions.

21 Thank you.

22 RUNNELLS: Thank you, Jean. Very interesting.

23 Dick, would you like to ask your question about
24 vadose versus, what? Saturated versus unsaturated zone.

25 COHON: Hang on--

1 RUNNELLS: I'll tell you what, while they're working on
2 that, Jean, can you tell us whether you've seen evidence of
3 saturated versus unsaturated zone precipitation?

4 CLINE: No. When we met with Dr. Goldstein it was very
5 interesting, and he presented a number of diagnostic to less
6 diagnostic textures, but suggested textures, I guess, that
7 could suggest different things.

8 And these samples, while they have very interesting
9 textures, there are no textures that tell you flat out it's
10 like this or it's like this. We haven't found them as yet.
11 We see things that are suggestive of certain things, of
12 certain environments. But--that's what we really have to
13 continue to look at. I would not--we simply don't have
14 enough observations to put us in either camp at this point.

15 RUNNELLS: All right. Thank you. Dick, do you want to
16 try one more time to--

17 PARIZEK: I'm on. Parizek, Board. Just to the field
18 relationships coatings on surfaces, whether they coat the
19 entire surface or just constrained in the tops or bottoms,
20 that's been some observations that have been made suggesting,
21 you know--

22 CLINE: Right.

23 PARIZEK: --vadose or unsaturated conditions versus
24 saturated conditions, I guess whether or not any of the
25 collections were taken from places where the field evidence,

1 which would suggest unsaturated formation.

2 CLINE: Definitely. As I said we tried to collect
3 samples from every sort of environment and every sort of type
4 of sample that we could. We're well aware of some of the
5 observations that the Survey people have made. They were
6 actually accompanying us when we collected our samples.

7 Yes, when we collect from lithophysal cavities most
8 of the calcite is in the base of those cavities. Sometimes
9 it kind of creeps up the wall a little way. Those
10 observations are valid observations, and they are highly
11 suggestive of those environments. So I would not refute--

12 PARIZEK: A field form would then be helpful perhaps in
13 seeing later on some organization to the kind of discoveries
14 you make when you finish your other work. It may be possible
15 to see a correlation between some of the observations you
16 make with fluid inclusions and the field occurrences

17 CLINE: Absolutely.

18 RUNNELLS: Jerry and then Paul.

19 CLINE: We photographed every sample location, so we--
20 and we described it as well. So we have a good record of
21 that.

22 COHON: This is Cohon, Board. Could you put up your
23 last slide again?

24 CLINE: Seems to have escaped.

25 COHON: The first point, I wonder if there is data

1 that's already been collected or samples that were collected
2 for other purposes by the program, that can help you in
3 coming to conclusions about that first point?

4 CLINE: That perhaps may be the case. I think one of
5 the things that we need to look at are samples from some of
6 the drill core so that we get out of the horizon that we've
7 been sampling in. I think what will be very informative
8 would be to see--to look at drill core, if it exists, in an
9 area where we collected from lithophysal cavities, and to see
10 if as we go up the mineralogy changes.

11 I didn't mention this, but when I said the
12 stratigraphy changes there are areas within the ESF where
13 rather than the samples being mostly calcite they are most
14 silicon minerals, and there's one zone where that's the case.

15 What is that related to? Is it proximity to the surface?
16 Is it related to fluid flow in some way?

17 So one of the things that came out of this
18 observation was the decision that we've got to go and look at
19 some of the drill core or look at some of those records and
20 see what's happening vertically. So I think that's
21 definitely the case.

22 What we have to do though is look more closely at
23 our samples and really refine the stratigraphies for the
24 different areas. We've only very recently gotten many of the
25 sections, so we're really still just putting this together.

1 COHON: Okay. Just one more question. I think I might
2 have missed something. I thought you said that there were
3 five phases to the project? Or were there four?

4 CLINE: I think I missed phase 5. That was publish, one
5 word, it was the bottom--

6 COHON: Oh, I just didn't see it.

7 CLINE: Thank you for asking.

8 COHON: Thank you.

9 RUNNELLS: Paul Craig.

10 CRAIG: Craig, Board. One of the advantages of being
11 emeritus is that you're allowed to ask--or at least you do
12 ask really poorly focused, ignorant questions. This is one
13 of those. We had some briefings from the USGS about their
14 work on the rate of dripping into the lithophysae.

15 RUNNELLS: Paul, could you speak into the microphone?

16 CRAIG: Yeah, okay. The USGS work on the rate of
17 dripping into the lithophysaes, and that was compared with
18 the work that Bo reported on today. And there were many
19 orders of magnitude difference in their estimates on what the
20 drip rates were.

21 Now the connection I'm trying to draw here is
22 between their work, where they had to assume an age in order
23 to calculate growth rates--which is one piece of information
24 we have on calcite; the second is all the work that's been
25 done at Devil's Hole where they've dated the growth of the

1 layers with great precision; and your work where you're
2 struggling to obtain some kind of an age date.

3 And the vague question I'm trying to formulate is,
4 isn't it possible to make use of whatever information the
5 USGS used in determining--in getting their estimates, and the
6 work--and your attempt to date the bubbles?

7 CLINE: Um-hum. We can. I guess I want to give you two
8 answers to that question. First of all we sort of wanted to
9 be careful about making some assumptions that were based on
10 information that--over which there was some disagreement on.

11 So we're trying to establish our own set of
12 observations and the conclusions that we can draw based on
13 those. However, we're certainly not going to ignore those
14 data. We are aware that dating has been done by several
15 people from the Survey that they have dated several bands
16 within those samples. And so we will certainly use those to
17 help us determine how we proceed in doing dating.

18 However, what we can't do is extrapolate ages from
19 one sample to another. I would be very leery of doing that
20 unless we can establish this correlation and really
21 positively convince ourselves that we know what the link is
22 from one sample site to another. Of I understand you
23 correctly, I would find it very dangerous to do that.

24 RUNNELLS: Question from Leon.

25 REITER: Yes, Leon Reiter. Jean, in the past, I think

1 in your press release you said something about temperatures.

2 I wonder if you'd repeat that or whatever you want to say at
3 this point about heat? You don't want to say?

4 CLINE: We did not say anything about temperature in the
5 press release. We've not conducted any microthermometry at
6 this point. It was only within the last 10 days or so that
7 our QA procedure for collection microthermometric data was
8 approved, and it's only really within the last 10 days that
9 we are ready to go forward with that.

10 We'll probably start doing it next week. So we
11 don't have any temperatures at this point in time.

12 REITER: I thought I--there was something about elevated
13 temperatures that was a statement that was included in there.

14 CLINE: I used the word elevated temperatures or
15 thermowaters or something like that, and I used those terms
16 because we see inclusions that have vapor bubbles.

17 And so those fluids--those inclusions had to be
18 trapped at temperatures at least in excess of 25 degrees C.
19 They had to be trapped at some elevated temperature--we don't
20 know what that was--so that as that fluid cooled and
21 contracted, that vapor bubble formed and exists today. So
22 the presence of that vapor bubble tells us that.

23 REITER: And one thing that you said, that the people in
24 the USGS and State -- quarterly meetings, but isn't there
25 also some sample sharing and that was -- just tell us a

1 little bit about that.

2 CLINE: Um-hum. What we've done, we set our schedule to
3 collect samples and we invited people to come with us. And
4 Joe Elling was a person who was along most of the time or all
5 of the time, and a few other Survey people were along as
6 well. The State chose not to have someone along with us on
7 our sample collection.

8 I might mention that we--because these inclusions
9 homogenize at relatively low temperatures, and the bubbles go
10 away when that happens, these inclusions do not renucleate a
11 bubble after that happening. So in order to protect these
12 inclusions for us to look at and for us to study, we had to
13 restrict the temperature range that all of these samples
14 could see. And so we restricted the sample temperature range
15 to zero to 35 degrees Centigrade.

16 So these samples have been very carefully handled
17 and quite carefully stored, but what we have done is hand
18 carry these samples to a lab in Montrose, Colorado, where
19 they are also stored under temperature controlled conditions,
20 and it's there that an individual is making these polished
21 sections. And from each sample he's making five polished
22 sections, and two of those go to us, the middle one goes to
23 the State and the other two go to the Survey.

24 The State so far has not taken possession of their
25 sections. Many of them are still being prepared, but they

1 will be held at UNLV and reserved for the State. The Survey
2 has taken possession of their sections as they've become
3 available, and the Survey is conducting a parallel study to
4 the study that we are conducting.

5 RUNNELLS: Question from Bill Barnard.

6 BARNARD: Bill Barnard, Board staff. Jean, could you
7 comment on your current schedule for completing the project?

8 CLINE: We are working towards our deadline. This is
9 sort of an awkward question because I don't know the official
10 start date of this project, so I don't actually know the
11 official final date of the project. I'm hoping it's
12 something like April of 2001 because that's when we actually
13 began work on the project. But that's the date that we are
14 working towards.

15 We will provide information as we gather it. We
16 don't--we're not going to work in vacuum, we're not going to
17 hold all the information until the end. I might add that we
18 have proposed a session for GSA 2000, which will be in Reno
19 next fall, and we--we and the other people involved in this
20 we hope will be submitting abstracts for that meeting.

21 Those are due in June of this year, and so a short
22 term goal is to have information available to put in those
23 abstracts and then present at that meeting.

24 BARNARD: That's the fall of this year?

25 CLINE: That's the fall of this year.

1 RUNNELLS: Any other questions from the Board or from
2 the staff? Paul Craig's comment about being professor
3 emeritus, allowing you to ask off the wall questions, gives
4 me courage to ask you if there's any evidence in the 151
5 samples studied petrographically of a preferred direction of
6 movement of the fluid. Shapes of crystals don't tell you
7 anything.

8 CLINE: Shapes of crystals tell you how the crystals
9 grew. The calcite crystals tell us that they grew out from
10 the tuff. They trap inclusions along growth zones, so those
11 trappings--that trapping is really telling us about growth
12 zones in the calcite crystals.

13 RUNNELLS: I was thinking more about the shapes of the
14 crystals, say in the fractures or in the breccia zones.

15 CLINE: The shapes of the crystals--

16 RUNNELLS: The crystals--

17 CLINE: --rather than the inclusions.

18 RUNNELLS: Right, right. Petrograph of the crystals.

19 CLINE: Does that tell us whether fluids came up or
20 down?

21 RUNNELLS: Or any preferred direction of flow.

22 CLINE: No, and I'm just not aware of any way to get at
23 that. The one thing that crystals can tell you in some cases
24 is whether they grew under the influence of gravity or not,
25 which they feel when they are in the unsaturated zones.

1 So if you go in a cave for example, and you see
2 speleothems (phonetic) that are growing on the walls, you
3 know you get these nice ram's horns that curl up and you get
4 gypsum that forms certain patterns, and so those textures
5 tell you saturated or unsaturated. But I'm not aware that
6 you can even use those to get at flow direction of a fluid.

7 RUNNELLS: Okay. Thank you, Jean.

8 CLINE: Would be nice.

9 RUNNELLS: Any other questions? Well thank you very
10 much, very interesting. We'll wait with bated breath for
11 further updates.

12 Okay, our final speaker for the afternoon is Dr.
13 Paul Dixon. Dr. Dixon has a Ph.D in geochemistry from Yale
14 University, and he is currently the M&O technical lead for
15 unsaturated zone and saturated zone geochemistry for the
16 Natural Environment Program Office.

17 Today Dr. Dixon is going to update us on Busted
18 Butte studies and some site scale flow and transport
19 modeling. Paul, welcome.

20 DIXON: Thank you. I guess I get the ostatious privilege
21 of being the last speaker today, and I see most people are
22 still awake.

23 RUNNELLS: Yeah, I think that's a great compliment.
24 Most the audience is still here. That's wonderful.

25 DIXON: --done well here, and I have to follow Jean. So

1 I guess what I would take from Jean's talk that I'd like to
2 parlay into the talk I'm going to give on Busted Butte is
3 that there's a lot of pieces of data that have to be
4 collected to pull together to get to an answer.

5 And as you heard from Jean and listening to that,
6 it isn't just going in and looking at one thing. That's one
7 of the things the Busted Butte test brings. We're trying to
8 look at a multitude of things and from those studies try to
9 get back to the basic question of how radionuclides will move
10 through the rocks underneath the repository.

11 So what I'd like to do today is kind of review what
12 we're going to--what were ultimate goals of this test when we
13 started out. This is a review for most people, the Board,
14 but it's basically we wanted to look at the influence of
15 heterogeneities on flow and transport; evaluate the aspects
16 of the site, including fracture-matrix interactions and
17 permeability contrast--permeability contrast being boundaries
18 within the rock where you have different layers of the rock,
19 and how fluids flow through those different boundary layers,
20 between different types of rock or different depositional;
21 consider colloid migration in the unsaturated zone, which in
22 this large test we can do; test the use of laboratory
23 sorption data at the field scale; calibrate and validate
24 site-scale flow and transport models, which you heard Bo talk
25 about some of the work we're doing there; and address scaling

1 issues.

2 You know, one of the things is most of the
3 experiments have been done on sorptions and transport have
4 been done at the bench top. In the block there for Busted
5 Butte, for those in the audience, the block here, this is
6 roughly 10 meters by 10 meters by about five meters high, so
7 this is a very large scale test. Next slide.

8 Progress towards goals--the test was broken into
9 two phases. There was the Phase 1 tests which were short,
10 three-meter boreholes, some were just injection with no
11 collection, and some were injection collection. And then in
12 Phase 2 is the large block you saw there that had multiple
13 injection and collection boreholes.

14 In the Phase 1 test it provided very good insights
15 that Bo is using about flow and transport around
16 heterogeneities. Also indicated that capillarity and matrix
17 dominated flow regimes exist in the vitric Calico Hills; and
18 that subunit and unit contacts are important for diverting
19 fluid flow depending on the level of mineralization of these
20 contacts.

21 Phase 2 is expected to provide additional insights
22 into flow and transport, heterogeneities, as migration
23 results near faults are analyzed. So within the Phase 2 test
24 block we have faulting within the unsaturated vitric tuff
25 there, and we can look at how that affects. Phase 2 will

1 provide larger scale, three-dimensional comparisons to the
2 smaller scale Phase 1 results. Next slide.

3 The analytical technique to detect microsphere,
4 i.e., the colloid surrogate that we used in this test, is
5 nearing completion. There was a lot of analytical difficulty
6 in developing a technique to get the microspheres off of the
7 pads reliably, and we believe that we will start the
8 beginning of this next month actually analyzing the pads and
9 some of the rocks for microspheres.

10 Insights into the sorption parameters and the site
11 scale model validation obtained through analysis of reactive
12 lithium and non-reactive tracers, reactive metals,
13 radionuclides analogs. We haven't looked for the reactive
14 metals yet, but we have been able to get insights from these
15 other things that we've seen on the pads, the lithium and the
16 conservative tracers. And scaling issues are being addressed
17 by this test and giving us some idea of the timeframes. Next
18 slide.

19 Now deliverables, everybody--the question has been
20 asked, how--do these results mean, where are they going.
21 Revision 00 of the transport properties AMR is currently in
22 checking. That will be part of Bo Bodvarsson's PMR on UZ
23 flow and transport. That AMR consists of work by Ines Triay
24 and now Jim Conka, Wolfgang Randes and his work, all of the
25 Seawell's work as well as all the Busted Butte work. So it's

1 a very large volume or document of work.

2 And Revision 1 of that is scheduled for completion
3 the end of this summer, as well as the revision of the
4 colloids AMR which Jim Conka is working on. It's due
5 sometime the end of this summer--both of those.

6 I know the last time you guys met--poor Mark
7 Peters. I don't know if he's still standing around here, but
8 you guys had a long, lengthy discussion about the
9 applicability of the Calico Hills and Busted Butte versus
10 repository. Like to do a general review here. We can take
11 it up in question and answer for more.

12 But it's--the Calico Hills at the repository is
13 variable. It ranges from zeolitic, non-zeolitized rocks in
14 the southern portion of the repository, to zeolitized rocks
15 in the northern portion. And that's known from the site
16 scale model and from the limited borehole information that we
17 have, the Busted Butte vitric with a relatively low abundance
18 of clay or zeolite alteration.

19 So at Busted Butte there's not much clay and
20 there's not much zeolitic alteration there. And it looks
21 more like the southern portion of the repository section--in
22 fact the lower Topopah Springs, upper Calico Hills section,
23 observed in the H-5 drill hole and SD-6 look very similar to
24 what we see at Busted Butte. And the relative portions of
25 glass and zeolites are very similar to what was determined in

1 the H-5 borehole.

2 Retardation of the Calico Hills under the
3 repository can occur due to sorption, fracture-matrix
4 interactions, and matrix diffusion processes. The Busted
5 Butte studies are quantifying the retardation mechanisms in
6 the vitric portion of the Calico Hills.

7 We're not dealing with any of the zeolitic type of
8 fracture flow because we have a good idea from work that's
9 been done in the past that fracture flow in the more
10 zeolitized zones is very similar to the fracture flow that
11 we're seeing in the Topopah, and we're using some of those
12 analogies in the flow and transport modeling at LBNL.

13 And flow and transport models developed for SR and
14 LA will be consistent with the Busted Butte results. In fact
15 we have a very tight integration with Dr. Bodvarsson in the
16 generation of his flow and transport codes to make sure the
17 information's coming out is consistent with what he's been
18 developing thus far.

19 I put this viewgraph in for you guys to refer to as
20 I go through the next parts of the talk. What I wanted to
21 do, because up to this point in time with Busted Butte we've
22 kind of given you little bits of data. The rest of the talk
23 now is actually presenting the data we've collected up to now
24 that's included in the AMR, that's in checking at LBNL, to
25 give you a flavor of what sort of information exists for the

1 Rev. 0 version of the AMR related to Busted Butte.

2 And just go back one--I want to point out that on
3 here all the drill holes are numbered, so that when you see
4 the next sections as we come along, we'll do things. The
5 next slide we're going to head to, we're actually going to
6 look at the ground penetrating radar results.

7 And for those of you in the audience, ground
8 penetrating radar is basically radar that's at a long enough
9 wave length that it imbibes into the rock. You can look at
10 moisture, different moisture contents using ground
11 penetrating radar.

12 The resolution on this is about 10 centimeters.
13 Most of the images we have are two-dimensional, and what you
14 see here, we're going to look at the results of 46-16, so if
15 you refer back to your last diagram, it's a vertical slide
16 from the top of the block to the bottom of the block.

17 And what I'd like to do now is I'll do--run through
18 an animation here as we sit, and we'll show you guys
19 basically what we saw over a time step, over a time period of
20 --as you can watch the time change, sitting up there--what we
21 saw from basically '98 through '99.

22 In other words how the fluids came in, and noting
23 that as you add more fluid to the system your resistivity
24 increases, or the radar velocities decrease and therefore
25 that's why you see a lightening of the thing. You want to

1 run that again and we'll play it once more just to give you a
2 visualization of how this technique is showing things.

3 These are--the injection boreholes are up here, the
4 high level injection boreholes, and these are the low level
5 injection boreholes. This is borehole 46. This would be in
6 the--if you're orienting yourself, this is in the test alcove
7 here, this region, and then this region out here is on the
8 main adit, this borehole in 48-16.

9 SAGÜÉS: Where are you injecting?

10 DIXON: The fluid is injected where you have the white
11 dots here, and the white dots there. So there's fluid
12 injection at a high plane and a low plane.

13 SAGÜÉS: At the same time?

14 DIXON: At the same time, yes. In fact if you flip to
15 the back of material in the back there's actually a diagram
16 that shows you collection injection borehole in a three-
17 dimensional picture. Priscilla, you look confused.

18 NELSON: What is being plotted here?

19 DIXON: What is being plotted here is the ground
20 penetrating radar data time step through time. So starting
21 in 9/1 of '98 up through 3/3 of '99--this is work by Ken
22 Williams at Lawrence Berkeley--and we're looking at a series
23 of time steps of how the moisture front is changing over that
24 time period, every time they went into this borehole and
25 measured the ground penetrating radar--use ground penetrating

1 radar to measure the fluid migration.

2 NELSON: And the plot is changes in velocity?

3 DIXON: We're looking at changes in velocity, but
4 changes in velocity as related to fluid content of the rock.

5 I'm sorry?

6 NELSON: No, that's fine.

7 DIXON: Okay.

8 SAGÜÉS: What is the difference in the graph on the left
9 and the graph on the right?

10 DIXON: The graph on the left is just--that was the
11 starting point in September 1st. That's what the--if you
12 took the borehole, that's what the starting composition was
13 when we first started the entire block. That's just a single
14 orientated fissure, and then this is just a time step from
15 that point on until 3/3/99.

16 SAGÜÉS: So that thing on the left is a plat or an
17 elevation? I don't quite--

18 DIXON: It's the same slice as this here. It's just
19 rotated 90 degrees.

20 SAGÜÉS: Um-hum.

21 DIXON: Roughly.

22 SAGÜÉS: Okay, only the one on the right is not a
23 perfect rectangle where the one on the left is this or not?

24 DIXON: It is. This one here is the graphical
25 representations of--

1 SAGÜÉS: Okay, Phase 2.

2 DIXON: Sorry to confuse you.

3 COHON: Alberto, use your microphone if you're going to
4 keep talking.

5 SAGÜÉS: Okay. Looks like the one on the left is also--
6 is not only rotated but it's also flipped. Is that right?

7 DIXON: No. If you go back to the beginning of this,
8 this figure--well before she started--this figure when it
9 starts out is exactly this figure here. It's just--that's
10 just the starting, what it looked like for the initial
11 snapshot, the preinjection of fluid into the block, what was
12 the initial conditions.

13 SAGÜÉS: And what do you get out of this?

14 DIXON: What do we get out of this? Because when you
15 first start the test you have a series of collection
16 boreholes that you'll notice on the figure there. We're
17 looking for when the fluid first appears.

18 In a totally blind test, because we didn't know the
19 rates of things, we used geophysical techniques to give us an
20 idea of the rate at which the fluid is migrating to the block
21 and giving us an idea of where in that block we might expect
22 the collection boreholes to start showing fluid arrival
23 times. Next slide.

24 RUNNELLS: Paul, we'll give you a little extra time at
25 the end because of these clarification questions.

1 DIXON: This is fine. I'd rather get clarified now
2 while we're on the slide than move on. I am the last talk,
3 so it's fine.

4 These are, as Mark pointed out earlier, these are
5 electrical resistivity images. This is another geophysical
6 technique that we're using, and here--it's probably more
7 clear on the diagram you have in front of you--is the
8 baseline of the electrical resistivity of the block. In
9 other words this gives you a full three-dimensional picture.
10 It covers the entire test block as opposed to a 2-D slice
11 you're getting in the GPR.

12 And the resolution here is a little bit coarse, so
13 it's about a half meter. But you can see here, here's two
14 different time slices, and then this slice here is broken up
15 into different depths in the blocks. You can look at again--
16 if you think about the tracer fluid being electrolytic, you
17 can actually look at the movement of the tracer fluid using
18 this technique.

19 The GPR looks at the movement of a moisture front.
20 This looks at the movement of probably the tracer, because
21 it has a different electrical conductivity than the pore
22 waters in the rock.

23 CRAIG: I'm sorry, I'm absolutely unable to tell what
24 message I'm supposed to take away from this.

25 DIXON: I'm sorry. The message here is again this is

1 another device for looking at how the fluid's moving through
2 the rock. This is just one time slice versus the baseline,
3 and again from this we can tell how the fluid is moving
4 through the rock in different sections of the rock, in
5 relationship to what we're collecting on the pads in the
6 collection boreholes.

7 CRAIG: So how is it in fact moving?

8 DIXON: Well as you increase the ionic strength of the
9 solution with the tracer solution, basically you get more and
10 more negative resistivity in the rock, electrical
11 conductivity. And so basically as the color becomes darker,
12 the more blue, that means that basically where you're seeing
13 fluid increases or tracer movement in the block.

14 Well I mean this is--this is the same thing that
15 Mark was showing in the drift scale test where they're using
16 ERT to look at fluid fronts moving out. There you're looking
17 at just pore water movement. Here you actually can tell the
18 difference between pore water and the tracer because they
19 have very different ionic strengths, and therefore the
20 electrical conductivity of the tracer fluid shows up very
21 clearly in this sort of a geophysical technique.

22 This is just another--this is a visualization tool
23 used and will become quantitative to compare with the pad
24 data that we collect in the boreholes. This was initially--
25 this is a visualization tool to tell us which pads and areas

1 the fluid was moving through the block and how it moves
2 through the block in three dimensions without mining back,
3 without physically going in--

4 CRAIG: When I look, it's visualization tool, but my
5 problem is that I can't tell what kind of a message. I can't
6 even tell--I can't tell where the flow is going. I don't
7 know how to read it. It's too complicated--

8 DIXON: Well, this--

9 CRAIG: Don't do it now. Don't do it now.

10 DIXON: It's just--that's--these are depths, so if you
11 go eight meters back into the block. It's just slices
12 through the block. This has to in a 3-D cube. Next slide.

13 What I'd like to talk a little bit now is that
14 there has been the laboratory experiments that went on with
15 tracers as well as--so what we used in the field, so they've
16 done not only the real radionuclides in the labs, the
17 neptunium, plutonium and americium, but they've also looked
18 at the analog tracers so you can compare results from the
19 field and the radionuclides with the analog tracers in the
20 field.

21 And in your backup section there's actually some
22 actual data tables, but on the next slide is to point out
23 that the measured sorption values of Busted Butte vitric
24 rocks are much greater than we currently using in our models.

25 What we've measured at Busted Butte, the values are much

1 greater.

2 Preliminary sorption results indicate that smectite
3 is an important component, trace component in the vitric
4 rocks, and there's a strong relationship of plutonium to the
5 smectitic content, the sorption coefficient. Americium shows
6 only a weak variation; and as for neptunium, the values that
7 we're getting from Busted Butte are about a factor of 20
8 higher than we're currently using in our models -- so
9 considerably different value for neptunium in these rocks.

10 The next slide I wanted to put up because it's one
11 of the few examples on the project here where we've looked at
12 pore waters. And we've actually quantified them, and what
13 you have in this table is four different samples and then the
14 average of those samples, and compared to J-13 water.

15 And I put it up here to show you that the pore
16 water composition in the unsaturated zone vitric rocks is
17 considerably different than that of J-13. And what that
18 means is that the significance to the lab studies that have
19 only been done with J-13 and the solubility things, that now
20 has to be determined and evaluated, the impact of this sort
21 of data. How much does that impact the solubility, different
22 things when you change the composition the way that you see
23 in the pore waters there.

24 And the last thing is that this work could be
25 extended to include pore waters and partially welded to even

1 some of the welded rocks. People have been trying to get
2 fluids out of those. Next slide.

3 I wanted to step through a little bit of the Phase
4 1B results, and point out that again in the Phase 1B was--if
5 you go back to your figure--earlier figure--these were--you
6 had an injection borehole with one injection point, and you
7 had a collection borehole, and that collection borehole had a
8 series of paths along it.

9 And what you're looking at here is depth into the
10 borehole and then so this would be the surface of the wall,
11 this would be 190 centimeters back into the borehole. And
12 what you're looking at here is the time at which those paths
13 were sampled and looked at for different compositions. So
14 the paths were periodically pulled out and analyzed.

15 So as you can see, early on there was nothing,
16 nothing, and then all of a sudden eventually you start seeing
17 some fluorescein breakthrough. And that breakthrough occurs
18 pretty much along the plane of where the fracture is. Next
19 slide.

20 The tracer shows strong expected breakthrough
21 patterns during the Phase 1B injection. The breakthrough is
22 slightly ahead of predicted matrix flow only, meaning that
23 even though you have a great degree of capillary and flow in
24 the matrix as you inject these fluids, the fracture is
25 influencing how the fluid comes through the non-welded Calico

1 Hills rocks here.

2 There's a lot of lateral spreading, and this here
3 is bromide, and this is the polychlorinated benzoic acids.
4 You see similar behavior between these two and fluorescein,
5 which you would expect in a conservative tracer.

6 Lithium, on the next slide, which is a slightly
7 non-considered tracer, shows a much more basically retarded
8 behavior which you would expect of lithium, being that it's
9 being imbibed and held in the rock. Again, lithium in these
10 rocks has a Kd of about one; neptunium in these rocks
11 measured in the laboratory has a Kd of about 20. Next slide.

12 NELSON: Nelson--

13 DIXON: Yes.

14 NELSON: --Board. What do you think of the saturation
15 conditions in the rock as a function of time through these
16 tests?

17 DIXON: The rock goes up to a certain pore saturation,
18 and then it capillaries. You don't saturate the rock, per
19 se. You reach a level of saturation. I think the level of
20 saturation here is about 35 or 40 percent in these rocks.

21 So it's an unsaturated test to this point, but
22 you're--you know, you imbibe under capillarity of the fluids
23 out but you don't completely saturate the rock where you're
24 actually draining under gravity.

25 This slide here was just to show that for the test

1 block for Phase 2, which is a 10 by 10 by 8 meter block, we
2 have actually gridded that block and we've run tests with
3 both conservative and nonconservative tracers.

4 This is to give you an idea of a conservative
5 tracer at a one-year time step, how far we would have
6 expected that conservative tracer to have went in one year
7 based on the--our understanding of what the rocks are at
8 Busted Butte, the non-welded rocks, and the characteristics
9 that are currently being used in the UZ flow and transport
10 model as it stands today. Next slide.

11 In this slide here we're looking at a spatial
12 comparison of bottle predictions of a conservative tracer
13 against fluorescein breakthrough in the Phase 2 test. And
14 the predictions match both observations with the exception of
15 one borehole, and that's borehole 10.

16 If you look back to your earlier cross section map,
17 borehole 10 is very close to a fault, and therefore it's a
18 working hypothesis now, it has to be proved out, but there
19 appears to be some communication along that fault, giving
20 different breakthrough results with borehole 10.

21 If we go to the next slide, which is just predicted
22 time of breakthrough versus the measured time in days, what
23 you notice again is that borehole 10 lies way up here at the
24 top. It's an apparent outlier in this. Prediction again
25 matched pretty well, and again borehole 9 tends to plot off;

1 borehole 9 down lower is one that's near the fault.

2 And currently according--talking to Jake Turin and
3 Wendy Solva working on this, boreholes 46 and 48, because of
4 their angle to the injection boreholes, they're within about
5 six or seven inches, and they're not sure if you're looking
6 at direct communication on those or whether or not we've had
7 borehole collapse in some areas, giving you direct
8 communications between the injection and the collection
9 borehole. Next slide.

10 What was tried to be done over the next thing here
11 is we're going to look at some of the results from Phase 1B.

12 I did show you the time step, the actually just static
13 picture of date versus time. What I wanted to show you was
14 they've actually--we'll step through a series of pictures
15 here, looking at the bromide concentration in the 1B test to
16 give you an idea of how it comes out in the pad and then
17 moves up and down the pad, in time.

18 What you looked at was a cumulative curve of data.

19 What we'll look at now is the time step through there. And
20 if you watch, the date will--you'll see the date standing
21 here, and you can start watching as the bromide starts to
22 come through the system here and fills in as we step through
23 time.

24 So you notice there as you step along it isn't just
25 one fracture that controls things. It tends to come down in

1 one area but then it will shift with time slightly to the
2 right or left, depending on what becomes the more prominent
3 path or flow during that time period.

4 The next thing we will look at is total moisture
5 content, and again this is a 10 milliliter per hour/minute
6 injection hole. This is a one milliliter per hour injection
7 hole. And what you'll notice is that in the one milliliter,
8 you really don't see any difference in the moisture content.
9 You didn't see any bromide in the last one. It was just too
10 slow and now the fluid was imbibed during the timeframe of
11 the test. You only saw results in the 10.

12 SAGÜÉS: Can I ask you again with respect to that
13 figure, you're injecting something on the top boreholes?

14 DIXON: Yes, we're injecting here from a single point
15 injection point--

16 SAGÜÉS: From the center of it? It's not like--

17 DIXON: Yes.

18 SAGÜÉS: --all along, but just--

19 DIXON: No, from a single point. I showed you 1B test
20 earlier--

21 SAGÜÉS: Okay.

22 DIXON: --along--

23 SAGÜÉS: And that happens also in the other one,
24 injected both 5 and 7, is that correct?

25 DIXON: 5 and 7 are injected from a single point,

1 roughly midway into the borehole along what we perceived--
2 what we identified as a fracture zone.

3 SAGÜÉS: Okay, now on the previous animation, the one
4 that you just finished, there was something happening only on
5 collection 6 but not in collection 8. Is that--did I see
6 that correctly?

7 DIXON: Yes, and that's because this, as I've just
8 mentioned, was an injection rate of one milliliter per hour.
9 This was 10 milliliters per hour. And so at the slower
10 injection rate, even though this distance here is only about
11 a half a meter, we didn't see enough drive at the one
12 milliliter per hour injection rate to give us breakthrough
13 into the collection pad.

14 SAGÜÉS: All right, thank you.

15 DIXON: Next slide. Oh, you're just stepping through
16 the colloidal moisture now. What I'd like to do now is--what
17 we were just looking at was the Phase 1B test. I tried to
18 make this into an animation. It didn't work. What this is
19 these the collection boreholes that stand out here in the
20 tunnel. This is your line of sight. You're looking at these
21 collection boreholes: the red here are the injection
22 boreholes.

23 What we're doing here is every time we roll out the
24 collection liners they go and roll them back out; they go
25 over it with a UV light and they look for the first

1 appearance of fluorescein, the first appearance of
2 fluorescein that will fluoresce with a black light. That
3 gives them a clue of which pads are important to analyze for
4 tracers.

5 What I'd like to do is just time step from August
6 1998 when we started to the present day to give you an idea
7 of how the block is saturating up and things are moving
8 around. And we can just time step through this.

9 Now what you notice there was as placed turned on
10 and off as we were going through. And that's an interesting
11 phenomena, yet to be explained, but it is one that as you
12 look through your color viewgraphs it's something that we
13 have to figure out; because in some places where, even though
14 it doesn't show that it's on with the fluorescein, we're
15 still seeing in those paths continued tracer deposition of
16 both the conservative tracers--things like lithium, bromide,
17 some of the polychlorinated benzoic acids.

18 So we're not sure what all this means yet. It's in
19 the preliminary stages of being interpreted, but we do have
20 the data and it is currently being collected and analyzed.

21 I guess I'd like to kind of conclude with porous
22 media flow dominates in the vitric Calico Hills. The data
23 from the boreholes surrounding the repository results from
24 Busted Butte are expected to build confidence in the UZ flow
25 and transport model.

1 Preliminary sorption results indicate that smectite
2 is potentially important to performance in the vitric rocks,
3 as well as other parts of the repository, and that the
4 current Kds being used in the flow and transport models are
5 very conservative. We're seeing much, much higher sorptive
6 capabilities in the vitric Calico than was expected.

7 And data and analysis from tests will continue to
8 be considered as part of the basis for the preparation of the
9 the site recommendation consideration report and the license
10 application as we iterate through.

11 And I think what I will go to now is just to point
12 out the AECL removed two blocks from the Busted Butte this
13 year. Those blocks are up in Canada and those blocks are
14 going to be analyzed for two different experiments.

15 The first experiment's going to be an unsaturated
16 flow experiment where they use real radionuclides and they
17 try to mimic with real radionuclides in a large one-meter
18 scale block what's going on, opposed to try to mimic some of
19 the--with real radionuclides what we're seeing at Busted
20 Butte with the analog tracers on an intermediate scale.

21 And the next slide, a smaller block taken from
22 there is actually going to be used--saturated, and they're
23 going to do saturated zone flow and transport tests through
24 the non-welded type of tuff rock, to look at how that occurs.
25 So they're going to do both those with radionuclides.

1 And I think that's--we're done, finito.

2 RUNNELLS: Okay, good. Thank you, Paul. Yeah, let me
3 just ask a quickie because it's the last thing he touched on.
4 What evidence do we have or what data do we have to show
5 that the analogs that were chosen are in fact the appropriate
6 analogs for neptunium, for example, neptunium plus 5, we're
7 using a nickel plus 2 analog. I mean where does that come
8 from?

9 DIXON: That comes from years of laboratory research by
10 people like Ines Triay and others around the world.

11 RUNNELLS: Okay.

12 DIXON: And it's been--there was a series of things, and
13 those--you have to understand that there are things that
14 might be closer, of an analog, to neptunium that aren't
15 neptunium or radioactive, but they may have health risks and
16 therefore would not be permissible to use in a test like
17 this.

18 RUNNELLS: Well the work you're doing in Canada will
19 show how close--

20 DIXON: Right.

21 RUNNELLS: --many of these are.

22 DIXON: Correct.

23 RUNNELLS: Okay, good. Thank you. Alberto, question?

24 SAGÜÉS: Yeah, I found the table on page 13 interesting
25 where you show the--specifically the colloid contents. This

1 would be number 13, if we have it there.

2 DIXON: It's going to be--it should be close to 13 on
3 yours.

4 SAGÜÉS: And looks like the colloid contents were like
5 --there is--they were about three times higher or so than J-
6 13, and also the chloride is significantly higher. It's
7 about 2 ppm compared with -- ppm. Is this--does this have
8 any relevance to what would happen in the repository area, or
9 is this sort of like--

10 DIXON: Well all I can say is that vitric non-welded
11 rocks have this sort of a pore water chemistry. The
12 indication from this and from what we've seen other places is
13 that the Topopah Springs pore waters are going to probably be
14 slightly different than J-13 like these, to significantly
15 different with certain elements. But until we actually go
16 and measure those, that's an unknown thing at this time right
17 now, Alberto.

18 SAGÜÉS: Okay.

19 DIXON: But until you measure that, the best thing that
20 we've used in the project, and what we've always done, is use
21 J-13 as our closest approximation. You can see that J-13
22 does have significant differences in certain areas from what
23 we see in a pore water in a non-welded rock at least.

24 SAGÜÉS: Okay. Because from the corrosion standpoint,
25 3x increase in the colloid content is something interesting,

1 to say the least.

2 DIXON: Yes.

3 RUNNELLS: Jerry?

4 COHON: Cohon, Board. Can we look at slide 24 please,
5 the conclusion slide?

6 DIXON: That one?

7 COHON: No, 24, next one.

8 DIXON: Well these are going to be times--what--you want
9 the conclusion--

10 COHON: Conclusions.

11 DIXON: Conclusion slide. I'm sorry. Because some of
12 these were done in sequence--

13 COHON: Well we get to see it again--

14 DIXON: --versus--what's that?

15 COHON: We get to see the animation again. Now it's
16 much clearer.

17 DIXON: Clear as mud is always good.

18 COHON: I think we've skipped it.

19 DIXON: No, that's it there. Yes, sir?

20 COHON: The last bullet.

21 DIXON: Yes, sir.

22 COHON: We heard earlier in an earlier presentation that
23 there's a freeze on data for SRCR, and your last point seems
24 to contradict that.

25 DIXON: What we worked out with Dr. Bodvarsson and his

1 modelers in collaboration with what we'd done at Los Alamos,
2 we had a freeze date basically of November 10 for things that
3 we were including while we were developing this AMR. This
4 was all data collected up through about November 10 that was
5 being pulled together for that AMR.

6 And that was sent to Dr. Bodvarsson and his
7 modeling team, and the different areas used different parts
8 of this, from the Kd data to the different flow and the
9 porosity permeability data that I have you last time.

10 COHON: So everything after November 10 will have impact
11 on the project--

12 DIXON: We'll go--

13 COHON: --after SCRC.

14 DIXON: It'll go under Rev. 1. It'll go under Rev. 1
15 which will go under the November CR. It will be reported in
16 late summer of this year.

17 COHON: All right.

18 DIXON: It will be in time for--

19 COHON: Well what I'm--I'm in stereo here, and it's
20 mostly agreeing. But Rev. 1 of what?

21 DIXON: Of the AMRs and PMRs.

22 COHON: But that has no impact on SRCR.

23 DIXON: Yeah, because it's done before November.

24 COHON: Talk in your mike.

25 DIXON: You just need to listen--

1 COHON: I'm sorry, which--November of which year?

2 DIXON: November of this year.

3 COHON: November 2000.

4 DIXON: 2000, yes.

5 COHON: Oh, I'm sorry. Okay.

6 DIXON: And in July of 2000 will be the final Rev. 1
7 update with all this information that's been collected up
8 through April. April we will have a cutoff date and then it
9 will be rewritten, updated and incorporated by July of this
10 year into the new flow and transport PMR Rev. 1, and that's
11 what will go into TSPA in early August, mid-August, and that
12 will be updated for the November submission.

13 COHON: Well let me ask the question before someone else
14 does. How did you work out the special deal and no one else
15 can? Why do we--

16 DIXON: The importance--

17 COHON: --push the--

18 DIXON: --data to flow and transport, since we had no
19 information on flow and transport in the unsaturated zone,
20 led us to initially the Busted Butte test because of where
21 the modeling was being done--was going to be done in-house.

22 So when it moved to Berkeley from Los Alamos we
23 just carried on the way that we were going to incorporate
24 testing as we were developing the models and things with
25 Berkeley, and that was a mutual agreement with Dr.

1 Bodvarsson.

2 COHON: Thanks.

3 RUNNELLS: Did you get your question answered, Jerry,
4 from Dan Bullen and Paul Dixon?

5 COHON: We're going to find out right now.

6 RUNNELLS: Okay, Dan Bullen--

7 BULLEN: Bullen, Board, I need a point of clarification
8 because I asked Mark Peters the same question and he told me
9 --the answer that I thought I heard was that they have until
10 summer of this year to get data for November, which is the
11 final SRCR release. And so I was under the impression that
12 Rev. 0 locked in last year, Rev. 1 ends in the summer, and
13 that Rev. 1 data will be the data that they'll need.

14 And if you'll remember from yesterday when we heard
15 all of the nice--actually I guess it was Jack Bailey this
16 morning telling us about how the revisions are going. Rev. 1
17 is one of those stuck in there, but there's still time to get
18 data in, which is why I asked Mark that question.

19 RUNNELLS: Dick? Dick, did you have a question?

20 PARIZEK: Well--Parizek, Board--it has to do I guess
21 with the modeling flow in the saturated zones? I guess Kds
22 can be upgraded? Back in October I heard that everything was
23 frozen, you know, for the site recommendation work. But from
24 what you're saying now, it's not quite frozen--

25 DIXON: There are certain places where we will add data

1 or we could do sensitivities and stuff for Rev. 0 and show
2 importances. Mark's standing here. You wanted to say
3 something?

4 PETERS: Mark Peters, M&O.

5 BULLEN: Was I wrong?

6 PETERS: No, you're right. There's the SRCR, and then
7 there's the SR.

8 BULLEN: Yes.

9 PETERS: Okay. So the SR--we're talking data freezes
10 for SRCR, those have basically past. What Paul was saying
11 was--I was saying summer time; that's true; but in the case
12 of Busted Butte we took a couple more months to make sure we
13 got as much data as we could in for SRCR. But Rev. 1 is the
14 same as final SR.

15 Does that clear it up?

16 COHON: Mark, and Rev. 1 is summer 2001, spring 2001?
17 What's the--

18 PETERS: The data that we collect up into the summer
19 time frame will go into the--

20 COHON: No, I'm sorry. I mean the SR itself.

21 PETERS: Is summer of 2001.

22 COHON: 2001, right, thanks.

23 PETERS: But we're mixing up data feeds with reports.

24 COHON: That's right.

25 PETERS: The SRCR report is November '00?

1 COHON: That's right.

2 PETERS: Yes, this November. So we're coming up on
3 that--

4 COHON: And the data other than Busted Butte will be
5 frozen summer--

6 PETERS: For the final SR.

7 COHON: Was frozen summer '99.

8 PETERS: Well, it--

9 DIXON: It was--most of it--of the information by August
10 of 1999 that went into the SRCR was--that's where the data
11 cutoff was. We extended it by several months, as Mark said,
12 for Busted Butte because of the importance of that data and
13 the necessity to have some of the actual field test, because
14 Busted Butte had been going for a while and we wanted to make
15 sure we had some of that information--

16 COHON: Okay, let me interrupt you. You extended it to
17 November '99?

18 DIXON: Yes--

19 PETERS: Right.

20 DIXON: --yes.

21 COHON: Okay.

22 DIXON: That was--

23 COHON: Now, I'm sorry, we're back to where we started.

24 So how do you say that will continue to be considered as
25 part of the basis for SRCR? November '99 is gone, right?

1 DIXON: Yeah--

2 PETERS: The bullet's probably a little confusing.

3 COHON: It's incorrect, it's not confusing.

4 PETERS: Let me take one more--can I take one more?

5 COHON: Yeah, sure.

6 PETERS: We collected data for the SRCR Rev. 0, whatever
7 you want to call it, the freeze was in the summer time frame.

8 In the case of Busted Butte we went ahead and submitted some
9 additional data November '99, calendar year '99.

10 COHON: Right.

11 PETERS: That's going in--that's going into the SRCR--

12 DIXON: And that's all the information--

13 PETERS: Additional data that's collected between
14 basically November '99 and roughly spring, summer--July,
15 let's say--of '00 will be considered for the SR, Rev. 1.

16 COHON: Fine, that's fine. Now this is not nitpicking.
17 This is wrong. You say "Data and analysis from the test
18 will continue to be considered as part of the basis for
19 SRCR." That's wrong. Is that--am I correct?

20 PETERS: That's correct.

21 COHON: Thank you.

22 RUNNELLS: Paul, do you still have a question?

23 CRAIG: Yeah, I'm going--I've got to go back to be
24 confused on technical issues rather than timing issues.

25 Flow through the unsaturated zone is notoriously

1 non-linear, and what I'd like to understand is the degree of
2 extrapolation from the high water--high concentrations that
3 you're using here so that you can get data to the
4 concentrations that actually exist under the conditions that
5 you believe will be out there in the natural mountain.

6 DIXON: I'll say that the concentrations being used in
7 the test are higher but not orders and orders and orders of
8 magnitude. It may be one order of magnitude higher than what
9 we'd be expecting to see in nature for some of the stuff.

10 CRAIG: So that--

11 DIXON: So that makes the analytical part of this test
12 difficult because we wanted to get concentrations which were
13 more close to what we would expect for reality in these
14 solutions. They're within a factor of 10 or less.

15 CRAIG: Okay, and you were getting transport times of
16 months over distances of a few meters.

17 DIXON: Of the conservative tracers. We have yet to see
18 the non-conservative tracers--

19 CRAIG: So that if--

20 DIXON: --represent the--

21 CRAIG: Well, water--water flow is a conservative--is
22 conservative, right?

23 DIXON: Yes.

24 CRAIG: Right, so that's what I'm interested in, water
25 movement.

1 DIXON: Right.

2 CRAIG: So that means that if you were to drop back by a
3 factor of 10 on the inflow rate, that the time--the transport
4 times over a few meters instead of being months might be tens
5 of months or say, years?

6 DIXON: We have within--

7 CRAIG: So we should think of a velocity--so this
8 implies a velocity of transport of water through this
9 particular rock that you're looking at of the order of a few
10 meters per year under realistic conditions.

11 DIXON: Right.

12 CRAIG: Is that correct?

13 DIXON: If the infiltration rate is high enough, yes.

14 CRAIG: No, no, I wanted to scale everything back by a
15 factor of 10 because that's what you said I had to do in
16 order to go back--to go to mountain conditions, assuming
17 linearity, which is probably not very--a good thing to do.

18 DIXON: Well, I think I'm mixing apples and oranges
19 with you here. I was talking concentrations of solutes in
20 the injection fluid. The injection fluids were injected at
21 rates of one, 10, 50 milliliters per year at different
22 horizons. Where we have the higher injection rates, i.e., 10
23 to 50, we are seeing the most movement and the most travel
24 flow. Where we have the one milliliter per hour injection
25 rates we have seen considerable less movement.

1 The actual spatial--you know, the actual ratio of
2 that, I can't give you right here and now. I don't have that
3 at the top of my head, but we can probably determine that and
4 get--

5 CRAIG: Yeah, well what I'd like to understand is how I
6 go about taking your data and going back to the kinds of
7 injection rates which you would get--expect to get in the
8 naturally operating mountain so that I can get some
9 qualitative feel--

10 DIXON: Tens--10 mill--

11 CRAIG: --for the transportation rates.

12 DIXON: Well 10 milliliter per hour injection rate is
13 fairly close to I believe about 30 milliliters of
14 infiltration per year.

15 CRAIG: Okay, that's the right direction. We'll discuss
16 it later.

17 RUNNELLS: Abe Van Luik would like to clarify a point on
18 the previous question.

19 VAN LUIK: I think on the question of schedule--this is
20 Abe Van Luik, DOE--unfortunately this bullet is not as untrue
21 as it may seem. The data feeds that were supposed to be
22 frozen last year, some of them have just been settled, you
23 know, within the last few weeks. And so we've had to do a
24 lot of work arounds to make sure that we still get our
25 products out on time.

1 And the idea that there is a sharp cutoff and that
2 no new information will come in is probably true for the
3 official quality assured transfer of data. But it is not
4 true if something in this test shows or calls into question
5 previous data, you know, we would have to stop the press and
6 restart on some of these things.

7 So this may be more true than it should be, is my
8 point. And when we say the cutoff is this month, it's been
9 our experience that that's basically when people start saying
10 "Oh, we should prepare something to turn in," you know. So
11 things have not worked out as clean and crisp as we'd like
12 to, and most of the AMRs are a little bit behind where we'd
13 like them to be, because the data feeds haven't come in on
14 time.

15 RUNNELLS: We have time for I think two more questions.
16 Dave, and then Dick.

17 DIODATO: Yeah, Diodato, staff. In your page 9, getting
18 back to the GPR figures, the GPR--the velocities pictured
19 here, just so I get my understanding straight, the lower
20 velocities correspond to places where you have lower water
21 saturation--

22 DIXON: No, higher water saturation--

23 DIODATO: Higher water sat--

24 DIXON: Because you're slowing the velocity of the radar
25 wave as it goes into the rock, as it goes into the water.

1 DIODATO: Okay.

2 DIXON: Because it accelerates through the highly dense
3 rock, then de-accelerates when it gets into a higher moisture
4 content. Does that make sense? In other words, if you had a
5 rock mass and water sitting next to it and you clanked
6 something, when you're in air and you hit something it has a
7 certain ring. You're underwater, it's louder; if you put
8 your ear against a rock and hit it, it's very loud because of
9 the rate at which it comes through.

10 DIODATO: So the velocity orders are rock, air, water,
11 or air, rock water?

12 DIXON: It's air--it's air, water, rock, where air
13 being--

14 DIODATO: Air, water, rock, okay.

15 DIXON: --being--

16 DIODATO: --fastest. Air's fastest.

17 DIXON: Rock being fastest--

18 DIODATO: Rock is the fastest, air is the slowest.

19 DIXON: --then water would be the next fastest, then air
20 would be the slowest.

21 DIODATO: Slowest. Okay. So now on this plot, you've
22 got here this one zone of slow velocities, which I guess now
23 we're agreeing corresponds to lower water saturations, higher
24 air saturations--

25 DIXON: --mean the green--

1 DIODATO: On the left hand side, let's say.
2 DIXON: What's that?
3 DIODATO: On the left hand plot there.
4 DIXON: Ahh--
5 DIODATO: Left hand plot.
6 DIXON: Left, over here?
7 DIODATO: Left hand--other plot.
8 VARIOUS SPEAKERS: The initial--other left.
9 DIODATO: Other plot.
10 SPEAKER: You're the man.
11 DIXON: This one.
12 DIODATO: Yeah, okay--
13 DIXON: This one--if you take this plot here and take
14 that point, that corresponds to that point.
15 DIODATO: Okay. So--but let's stay on the left hand
16 plot--
17 DIXON: Okay.
18 DIODATO: --a second. And there's a line that goes up
19 about 45 degrees, that line there, yeah, which corresponds to
20 then lower water saturations, higher air saturations,
21 correct?
22 DIXON: That--it goes--
23 DIODATO: It's a low velocity--
24 DIXON: --it goes from very, very low velocity, yes.
25 DIODATO: Okay. So is that in any way--are you

1 inferring any correlation with geologic structures or some
2 other heterogeneity which--

3 DIXON: At this point in time, this--if--this would
4 imply that there's some geological structure or zone in
5 there. That has not been identified as a fracture when we
6 mapped, but with video camera of the boreholes--

7 DIODATO: Right.

8 DIXON: --that doesn't mean that there's not a zone of
9 permeability there, and that's what that appears to be. In
10 talking with Ken Williams and stuff, until we do some other
11 coring or limited mine-back into this test when it's
12 finished, the answer to that question will never be clearly
13 elucidated.

14 But you can hypothesize probably fairly--fairly
15 large degree of confidence that that is a zone of higher
16 permeability whether it's a fault that's not identified
17 within the boreholes drilled today, or whether it's just a
18 zone where you have less cementation or less compaction.

19 DIODATO: Okay, I understand. Now in terms of
20 correlating the velocity structure with the moisture contents
21 or saturations, have you done any measurements with neutron
22 access tubes, for example, or something like that--

23 DIXON: We have--I didn't mention, but we also have
24 neutron logs of all the boreholes, and so between the three
25 geophysical techniques and what we know from the rock based

1 on actually measuring things, we have a pretty good idea; and
2 using basically standardizing the techniques on some of the
3 rocks we have a pretty good idea of what the different
4 velocities mean and water contents.

5 DIODATO: Yeah, so that would be a nice--nice thing to
6 display. Then the question becomes, in your conclusion
7 slide, you're talking about porous media flow dominates in
8 the vitric Calico Hills.

9 DIXON: Right.

10 DIODATO: So some questions I have are, one, vitric
11 rocks would be more brittle, is that correct?

12 DIXON: No. Less brittle.

13 DIODATO: Vitric rocks are less brittle.

14 DIXON: In other words they're not welded as much.
15 Vitric rocks--think of them being as like a pumice block, a
16 series of little pumice grains, just stacked, rather than
17 pumice grains that were heated and melted together, which
18 make a welded tuff.

19 DIODATO: I see. All right, thank you. Well borehole
20 10, how does that--you thought that you might have some
21 structural heterogeneity--

22 DIXON: Can you flip to slide 8?

23 RUNNELLS: Gentlemen, can we keep the remainder of this
24 very short, because we're getting close to public comment
25 time--

1 DIODATO: Yeah.

2 DIXON: All I was going to say is there is--

3 RUNNELLS: --cut into the public's time.

4 DIXON: --there is a measured fault with offset.

5 Borehole 10 is relatively close to that, and there appears to
6 be a higher degree of fluids, conservative tracers being
7 imbibed into that borehole. And we believe it's because of
8 its proximity to the fault.

9 DIODATO: Thank you.

10 RUNNELLS: I do not want to cut into the public time. I
11 know there are two people who want to ask questions. I'm
12 going to defer to the chair.

13 PARIZEK: Real brief.

14 RUNNELLS: Real brief. Dick, real brief, and then--
15 there was somebody who wanted to clarify that timing thing
16 again.

17 PARIZEK: Yeah, Parizek, Board. I guess, deals with
18 Alberto's question of Jack Bailey earlier this morning, about
19 the natural barriers only versus natural barriers plus waste
20 package.

21 DIXON: Right.

22 PARIZEK: It didn't look like he got an awful lot of
23 credit for the geology. Now with the new information you
24 have, I'm not sure whether or not the natural barriers runs
25 included your new information, say on the role of Calico

1 Hills, as an example, and Kd information in the alluvium.

2 DIXON: In the site--in the plan that Jack Bailey
3 presented you this morning, it does not have the data that I
4 presented here today.

5 PARIZEK: So geology's better than--

6 DIXON: The geology is better. I mean we've been very
7 conservative up to this point.

8 PARIZEK: So I just want Alberto to realize that metals
9 are great but geology's better.

10 RUNNELLS: That would be a wonderful comment to end on,
11 Dick, but unfortunately we have a gentleman who wanted to
12 clarify further that issue of timing. Where did he go?

13 COHON: I think we're okay.

14 RUNNELLS: We're okay. Okay, then thank you very much
15 to all of the speakers. Our great appreciation for the
16 preparation that went into these presentations. They were
17 excellent. Thank you for your time.

18 And I'll turn it back to Dr. Cohon.

19 COHON: Thank you very much, Don, for doing such an
20 excellent job of chairing; and my thanks to all the speakers
21 for a good session.

22 We have three people who would like to speak.
23 We'll start with Jerry Szymanski.

24 SZYMANSKI: How much time do I have?

25 COHON: Ten minutes. Is that adequate?

1 SZYMANSKI: Oh, yes.

2 COHON: Okay.

3 SZYMANSKI: My name is Jerry Szymanski. On this
4 particular meeting I am representing attorney general of the
5 State of Nevada. It seems to me that the Board is uniquely
6 positioned to advise the Congress, the President, what to do
7 with this project. The key, in my judgment, is information.

8 It is my understanding the Board had received a
9 letter from attorney general explaining to the Board what
10 would be the wishes of the State of Nevada, and it seems to
11 ask that develop a schedule whereby UNLV projects runs its
12 course, the unanimous report is released and analyzed, and
13 after that issue final assessment, environmental impact
14 statement and site consideration, suitability consideration
15 report.

16 It is our view that business--that DOE has no
17 business whatsoever to travel the country, inform the public
18 and the decision makers about the potential environmental
19 impacts unless this question is resolved. That seems to me
20 straightforward.

21 I would like to present to the Board four documents
22 to aid the Board to understand the scientific basis for our
23 recommendation. Upon reviewing this report it may be that
24 the Board would choose to advise the Secretary and the
25 Congress to reschedule these two crucial documents. After

1 all, if these minerals are young and hot, if these minerals
2 were being deposited intermittently over the last 10 million
3 years, what are we looking at? We are looking at potential
4 catastrophe.

5 Now we are looking at the issue which is 20 years
6 old. It is to the credit of this Board that project which
7 Dr. Cline is chairing came to fruition. I credit the Board,
8 and it is a crucially important piece of information.
9 Everything else is irrelevant.

10 Some of these titanium umbrellas, they might be
11 effective if water is dripping--if it is dripping at all.
12 But how good they would be if we would be looking at an
13 explosion, a behavior which is not dissimilar to what we can
14 observe today at Yellowstone.

15 Now my interest here in passing these documents is
16 to inform the Board, to provide them maybe one-sided view,
17 agglomerate scientific data which in my judgment, saying
18 wait, wait a minute here. Let them finish the work. That
19 work cannot be rushed. Jean Cline, Dr. Bodnar are showing a
20 lot of diligence in trying to obtain data which are secure
21 beyond reasonable doubt, very meticulously documenting.

22 There are three parties involved. That process
23 cannot be rushed. So there's only one solution: postpone
24 this two bloody (phonetic) reports. That seems to me
25 straightforward.

1 And second, Yucca Mountain, its geology is
2 extremely complex. It relates more to nonlinear
3 thermodynamics than it relates to water supply hydrology, or
4 engineering rock mechanics.

5 These subjects have nothing to do with
6 understanding dynamics, behavior and evolution of mountain.
7 We are looking at the fundamental tectonic processes which
8 are uniquely present at Yucca Mountain and very few other
9 places in United States.

10 The circumstances have to be understood through
11 integration of a huge amount of data. We have to look at the
12 velocity, distribution in the mantle, we have to understand
13 phase transformations in the mantle, we have to understand
14 the behavior of gases and the origin of gases which are
15 coming out of this mountain. And now we can start putting a
16 picture together.

17 This cannot be done by applying the silly darcy law
18 (phonetic) to that mountain. This is silly. That pertains
19 to a water supply. It does not belong into a siting of the
20 repository in a tectonically, that is fault ruptured,
21 volcanically, that is the mantle melting in instability. It
22 just doesn't belong there.

23 I'm not interested in getting comments. Most of
24 them are not too pleasant to me for last 20 years. I'm not
25 interested in it. My interest is to inform the Board. I do

1 not think or do not believe that a lot of good will come out
2 from getting again a few consultants, so-called experts,
3 which neither know Yucca Mountain, they are not willing to
4 digest \$7.6 billion worth of geological data collected at
5 that mountain. There's no mountain in the world which has so
6 much data.

7 And moreover in that pile of data there is an
8 understanding which is unique. You will not find an
9 understanding in the books which were written elsewhere, some
10 professors in Michigan. They were never exposed to this
11 amount of data. We never had it, nowhere.

12 Therefore I am not interested in repeating this two
13 failed review process. Specifically I am referring '92
14 National Science Academy, and the more recent review of the
15 document which I have forwarded to the Board two years ago.

16 To continue with this is to invite litigation. We
17 at the office of attorney general wish, pray, that we can
18 resolve this issue short of litigation because it is our
19 belief--which is very firm--the result of it would be serious
20 embarrassment to the Congress and to the administration.

21 Therefore it seems very logical to me, just
22 postpone these two reports--it's not a big deal--and allow
23 the process at UNLV to be completed. It is a very fair
24 process. I am committed that I will accept the results. Dr.
25 Dublianski's committed to accept the results. I think Dr.

1 Bodnar is serving in a very useful role as a referee, and
2 there can be the database developed.

3 And I hope that the Board members, each of them,
4 will read the documents, especially this one in the binder
5 which pertains to fluid inclusions, pertain to--it is in a
6 bullet form. It's very easy to read. But it provides the
7 Board with the information which I think is crucially
8 important, and I think the Board is lacking this. We can be
9 talking about this uncertainty until hell freezes over.

10 But I look at it--it is a joke. Having that
11 business, when you go into the tunnel, experienced geologists
12 immediately see hydraulic fracturing. That tells me that
13 somewhere in that mountain there is a supercharged body of
14 water which is hot, and charged with gas, small perturbation
15 causes catastrophic release of the gas, and the hydraulic
16 fractures.

17 -- talking about--we don't know the ages of these
18 minerals. We do. We have an unprecedentedly large database
19 pertaining to these minerals. We have lead 207, uranium, we
20 do have very extensive database pertaining to -- uranium --,
21 we can compute probabilities, we do know what are--and we are
22 in agreement how hot are those minerals. Some of them are up
23 to 85 degrees C--

24 COHON: Dr. Szymanski, I'm very sorry to interrupt.

25 SZYMANSKI: Well--

1 COHON: We're closing in on 15 minutes, and I wonder if
2 you can wrap it up?

3 SZYMANSKI: I can wrap it up right now.

4 COHON: Thank you.

5 SZYMANSKI: Thank you very much for opportunity to
6 express these views.

7 COHON: Thank you, Dr. Szymanski. And you'll give us
8 these documents? You can just give them to Dr. Bullen there.
9 Thank you.

10 SZYMANSKI: Thank you.

11 COHON: Sally Devlin. Ms. Devlin.

12 DEVLIN: Again, Mr.--Dr. Cohon, thank you again for
13 coming to Nevada, and I hope you'll be here very soon. I
14 have my notes that I gave--I had in my pocket from this
15 morning on my questions. And I really do hope they'll be
16 answered, like the change in the map and so on.

17 This has been a most informative meeting, and I say
18 that because I introduce you to the SEC and I hope I hear
19 back from you on what they had to say, how Yucca Mountain
20 will affect the markets and the potential for disaster.

21 In the EPA book, I'm giving the numbers of what the
22 foreign countries have, except for China and Russia, and
23 their nuclear waste piles. Everybody seems to be sitting
24 around seeing if we're going to blow ourselves up, and it's a
25 very serious question.

1 The other thing that is never mentioned, we did get
2 one--we got a number, we got a \$3 billion number for the
3 costs of the things. And that's very important, and I think
4 the public needs more numbers on everything. I gave you
5 numbers in my little film, but the most important thing is
6 confidence that we do get answers--(coughing)--I'm sorry--I'm
7 just so tired--to our questions and so on. And again I just
8 want to say thank you.

9 The only other thing I have to ask is, nobody
10 mentioned my bugs, and my microbic invasion I think since the
11 Livermore study came out should be looked into. I can't
12 understand why all this metallic stuff and the bugs eat the
13 metal, and on the other things that you're talking about with
14 the canisters--(pause)--

15 COHON: Ms. Devlin, I think they're still working on
16 bugs. Are you still working on bugs? Yeah, DOE's nodding
17 its head.

18 DEVLIN: You're working on my bugs, good. My bugs are
19 on everything and in everything, so I'm looking forward to my
20 bugs having more reports because they can eat the rock and
21 the rock will collapse, and God knows what happens. They can
22 eat the metal and so forth, and that's terribly important.

23 And the only other thing I have to ask is I was
24 told at the NRC conference that this stuff is going to be put
25 in the mountain robotically. I know nothing about that, and

1 I'd like to learn; and that concludes it.

2 Again, thank you for coming.

3 COHON: Thank you, Ms. Devlin. Tom McGowan.

4 MCGOWAN: Testing one, two. Huh? Oh, okay. Self-
5 explanatory so far up there on the wall, and I am very
6 impressed with the art work and the major five and six and
7 seven color renditions on many of the presentations. These
8 presentations are becoming more professional by the
9 nanosecond, and that's commendable because that may be about
10 the best there is, so far.

11 Now--Tom McGowan--consistent with the--Dr. Bodnar's
12 presentation, which I enjoyed thoroughly, I am firmly
13 convinced that all women passengers on the same airplane were
14 born on the same day and are securely interrelated, much like
15 the inclusions on the same crystalline structure.

16 Dr. Cline's presentation was also highly
17 commendable, and uniquely enlightening, since none of the
18 samples were apparently collected in any of the 100 miles of
19 proposed repository drifts or from the intermediate field,
20 regional area. But then it would be inappropriate apparently
21 to create perturbations in the whole region. On the other
22 hand there is a limited desirability of having all the
23 information possible about the access tunnel only.

24 Dr. Stuckless' presentation provides proof positive
25 that the best underground repository for nuclear waste would

1 be in a cavernous art gallery in an exotic foreign land such
2 as Turkey, or perhaps even Peon, New Jersey.

3 Tom McGowan, Las Vegas, Nevada--I think I said
4 that. Good afternoon. As Milton Berle would say, "Someday
5 everybody who knows you and hates you, doctor, will be
6 gathered in one place. And now that you're all here--no,
7 seriously, good afternoon, ladies and gentlemen. The rest of
8 you know who you are."

9 In this segment I'll address the nuclear waste
10 priesthood element of my proposed alternative to underground
11 storage that I referenced in the last public comment segment.
12 In -- Dr. Van Luik advised me that my previously referenced
13 proposal elements are virtually identical to a current DOE
14 program entitled ATW, which I never heard of before. True
15 story. And that's an acronym indicative of Accelerated
16 Transportation of Waste.

17 And I'm heartened by the fact that DOE is
18 responding to congressional directives and -- start up
19 funding. Undoubtedly in consequence of the urgings of
20 Senator Pete Domenici of New Mexico, as advisoried by my
21 personal acquaintances, Drs. Bowman and Vanneri of Los Alamos
22 National Laboratory, Nobel Laureate Dr. Carlos Rubio of
23 Italy, and other eminent nuclear physicists in Oak Ridge,
24 Havana River, Argon Laboratories, Brookhaven, Lawrence
25 Livermore, Moscow, Tokyo, United Kingdom, and elsewhere in

1 the expanding universe of accelerator driven transportation
2 technology, ADTT, which did not just fall of the truck, but
3 in fact started quite some time ago.

4 My proposal was first submitted 10 years ago, which
5 responds to your advisory about my having some kind of access
6 to your ATW--never heard of it, doc. You're going to send to
7 me in the mail; we can compare notes on that to other
8 matters. So in January of 1990, yes, that was proposed by
9 me--which is neither here nor there.

10 It was ignored by the state and local jurisdictions
11 in their wisdom, but was subsequently welcomed and heartily
12 endorsed by the First International Symposium on Accelerator
13 Driven Transportation Technology held at the MGM Grand Hotel,
14 just micrometers from here. In fact transportation
15 technology had its inception in the United States in 1947.
16 It was subprioritized while other competing interests
17 received the bulk of research development funding. Not
18 surprisingly.

19 In any case, better late than never, since a
20 monumental task looms inevitable on a national and world wide
21 scale. So congratulations, Dr. Van Luik, for coming into the
22 real world apparently just in the nick of time.

23 And also in the interests of giving credit where
24 credit is due, which I will always do, the phrase Nuclear
25 Waste Priesthood reflects artistic license with reference to

1 the earlier iteration, Nuclear Priesthood, originated by Dr.
2 Alvin Weinberg, which was nuclear energy specific rather than
3 nuclear waste specific. And that clarifies anything like
4 that--we'd hate to have Dr. Van Luik sit up all night and
5 wonder about where the hell that phrase came from. We're
6 clear on that, right, doctor? God bless you, my son.

7 Comes now my full plan of viewgraph narratives like
8 magic, summarized outline of my proposal element entitled
9 Nuclear Waste Priesthood, which is straightforward,
10 essentially comprised of a broadly diverse, entirely
11 voluntary pan-denominational, non-compensated but intensely
12 dedicated non-secular corps of individuals uniquely attained
13 to utmost ensured quality slash integrity, context in terms
14 of ethics, morality, reason, integrity, responsibility, and
15 above all, conscience. That is the key, that compound right
16 there is the key determinate between the man and the money,
17 so to speak--or men and whatever those other things are out
18 there.

19 In surplice service to the genuine best public
20 interest inclusively and intergenerationally. And thereas
21 pursuant to the ensured effect of safe, secure human
22 intrusion and accessibility impervious, stewardship,
23 management and monitoring of high level nuclear waste over
24 hundred of thousands of successive generations, ergo
25 essentially in perpetuity.

1 Ad hoc and pro tem the discharge of the duty or
2 responsibility to securely isolate, to immobilize that level
3 nuclear waste pending transportation based reduction and to
4 eventual natural civilization. End of problem.

5 The Nuclear Waste Priesthood recognizes the absence
6 and indeed the impossibility of ensured effective
7 institutional controls, either extant or impending, as
8 reasonably foreseeable.

9 And thereas realistically projected as ensuing
10 within and sustainable over any enduring term, as recognized
11 as the compelling need for it and advisability of an
12 independent human infrastructure, aka the ad hocracy,
13 attained to context is virtually immortal and thereas charged
14 with the solemn duty and responsibility and so on exclusively
15 dedicated to the preservation of integrity of the high level
16 nuclear waste in perpetuity or until obviation or stability
17 is attained completely and permanently, nationally and world
18 wide.

19 The priesthood would be self-regenerated and self-
20 replicated over an expanding base, and would be an
21 independent supranational sovereign entity ascribed to the
22 highest attainable standards of human spiritual quality,
23 integrity, consistent with divine will, as is abundantly
24 evident throughout the naturally ordered universe. Take a
25 look sometime. It works perfectly whether we're here or not.

1 The priesthood will voluntarily ascribe to the
2 strictest military discipline and would remain subject to
3 self-imposed severe penalties, including capital punishment,
4 in the instance of non-compliance with its voluntarily
5 adopted and uniquely unforgiving code of conduct on
6 behavioral boundaries, parameters and constraints, without
7 exception.

8 In conclusion, doctor--in conclusion, doctor,
9 vesper services will begin at 7:00 p.m. in the Yucca Mountain
10 memorial catacombs for those of you who are dedicated to this
11 particular pursuit. I said unforgiving, and I meant it.
12 Unforgiving means if you don't care about this, you'd better
13 care about something else because you ain't going to get past
14 me, period. That's simple.

15 Okay, and I love you, doctor--I love all of you.
16 But that has nothing to do with it. This is not above love.
17 It's about life and death--not ours--theirs, and they're not
18 here at all to talk about it. So I'll talk for them.

19 Thank you very much. And bye bye.

20 COHON: Thank you, Mr. McGowan. Is there anybody else
21 who cares to make a comment?

22 Seeing no takers, let me close the meeting by
23 thanking again all of our speakers over the last two days.
24 They were especially high quality presentations, I think,
25 from both within the program and from outside.

1 I want to thank our outstanding staff for their
2 great job in organizing this meeting, the two Lindas who are
3 still working at it in the back, all of our staff. But I
4 want to single out Dan Fehringer, who is the one who
5 coordinated the substance of this. He did a fantastic job.

6 Thank you, Dan.

7 Thank you all very much. We stand adjourned.

8 (Whereupon the meeting was concluded at 6:30 p.m.)

9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1

2

3