

UNITED STATES  
NUCLEAR WASTE TECHNICAL REVIEW BOARD

FALL BOARD MEETING

September 19, 2007

Atrium Suites Hotel  
4255 Paradise Road  
Las Vegas, Nevada 89109

NWTRB BOARD MEMBERS PRESENT

Dr. Mark Abkowitz  
Dr. William Howard Arnold  
Thure Cerling  
Dr. David Duquette  
Dr. B. John Garrick, Chair, NWTRB  
Dr. George Hornberger  
Dr. Andrew Kadak  
Dr. Ali Mosleh  
Dr. Henry Petroski

SENIOR PROFESSIONAL STAFF

Dr. David Diodato  
Dr. Daniel Fehringer  
Dr. Bruce Kirstein  
Dr. Daniel Metlay  
Dr. John Pye  
Dr. Gene Rowe

NWTRB STAFF

Dr. William Barnard, Executive Director  
Karyn Severson, Director External Affairs  
Joyce Dory, Director of Administration  
Linda Coultry, Program Support Specialist  
Davonya Barnes, Staff Assistant

I N D E XPAGE NO.**Call to Order and Introductory Statement**

B. John Garrick, Chairman	
U.S. Nuclear Waste Technical Review Board . . . . .	4

**Program and Project Overview**

Ward Sproat, Director, Waste Management Office, Office of Civilian Radioactive Waste Management, U.S. Department of Energy . . . . .	11
---	----

**TAD Update DOE**

Chris Kouts, Acting Deputy Director (OCRWM/DOE) . . .	49
---	----

**TAD Update - Industry**

Rod McCullum, Director Yucca Mountain Project, Nuclear Energy Institute and David Blee, Executive Director U.S. Transport Council . . . . .	73
--	----

**Surface Facilities Design and Operations**

Robert Slovic, BSC . . . . .	114
------------------------------	-----

<b>Lunch . . . . .</b>	150
------------------------	-----

**Preclosure Safety Analysis**

Michael Frank, BSC . . . . .	153
------------------------------	-----

<b>Public Comment Period . . . . .</b>	199
--	-----

<b>Adjourn . . . . .</b>	209
--------------------------	-----

P R O C E E D I N G S

1

2

8:00 a.m.

3

GARRICK: Good morning. I'd like to welcome all of you.

4

This is our third full Board meeting of 2007.

5

Our meetings begin with introductions, and I'll

6

start with my own. My name is John Garrick. I'm Chairman of

7

the Technical Review Board, and my professional activities

8

are in the risk assessment field and nuclear engineering,

9

nuclear science. I want to introduce the Board. And, as I

10

introduce the members, I ask them to raise their hands.

11

First, is Mark Abkowitz. Mark is Professor of

12

Civil Engineering and Management Technology at Vanderbilt

13

University, and Director of the Vanderbilt Center for

14

Environmental Management Services. Mark Chairs the Board's

15

Panel on System Integration, and is the Board's technical

16

lead on transportation.

17

Howard Arnold. Howard is a consultant to the

18

nuclear industry, having previously served in a number of

19

senior management positions, including vice-president of the

20

Westinghouse Hanford Company, and president of Louisiana

21

Energy Services. Howard chairs the Board's Panel on

22

Preclosure Operations.

23

Thure Cerling. Thure is a Distinguished Professor

24

of Geology and Biology at the University of Utah. He is a

25

geochemist, with expertise in applying geochemistry to a wide

1 range of geological, climatological, and anthropological  
2 studies. Thure is our technical lead on the Natural System.

3 David Duquette. David is Department Head and  
4 Professor of Materials Engineering at Rensselaer Polytechnic  
5 Institute in Troy, New York. His areas of expertise include  
6 physical, chemical, and mechanical properties of metals and  
7 alloys, with special emphasis on environmental interactions.  
8 David is the Board's lead on Corrosion.

9 George Hornberger. George is the Ernest H. Ern  
10 Professor of Environmental Sciences, University of Virginia.  
11 His research interests include catchment hydrology,  
12 hydrochemistry, and transportation of colloids in geological  
13 units and media. George co-chairs the Board's Panel on  
14 Postclosure Repository Performance.

15 Andy Kadak. Andy is Professor of the Practice in  
16 the Nuclear Engineering Department of the MIT. His research  
17 interests include the development of advanced reactors, space  
18 nuclear power systems, and improved licensing standards for  
19 advanced reactors. Andy is the Board's technical lead on  
20 Thermal Management and where the water goes.

21 Ron Latanision is absent. He is preparing for some  
22 hearings on Davis Besse, but I'd like to introduce him  
23 anyhow. Ron is an Emeritus Professor at MIT and a Corporate  
24 Vice President and Practice Director of Exponent's Mechanical  
25 Engineering and Materials/Metallurgy practice. His areas of

1 expertise include materials processing and corrosion of  
2 metals and other materials in different aqueous environments.  
3 Ron co-chairs the Board's Panel on Postclosure Repository  
4 Performance.

5           Ali Mosleh. Ali is the Nicole J. Kim Professor of  
6 Engineering and Director of the Center for Risk and  
7 Reliability at the University of Maryland. He has had a  
8 major role in many risk and safety assessments, reliability  
9 analyses, and decision analyses for the nuclear, chemical and  
10 aerospace industries. Ali is the Board's technical lead on  
11 Performance Assessment.

12           William Murphy. Bill is a Professor in the  
13 Department of Geological and Environmental Sciences at  
14 California State University-Chico. His areas of expertise  
15 are geology, hydrogeology, and geochemistry.  
16 Congratulations, Bill, on your recent appointment as full  
17 Professor. Bill is the Board's technical lead on the Source  
18 Term.

19           Henry Petroski. Henry is the Aleksandar S. Vesic  
20 Professor of Civil Engineering and Professor of History at  
21 Duke University. His current interests are in the areas of  
22 failure analysis and design theory. Henry is the Board's  
23 technical lead on the design of Surface Facilities.

24           Now, before we introduce the topics for today's  
25 meeting, I'd like to highlight some of the technical areas of

1 current interest to the Board. During the preclosure period,  
2 transportation and design of a surface facility stands out as  
3 current areas of interest and activity. This year, the Board  
4 has received several updates on related topics at its  
5 meetings in January and May. Today, we are going to focus on  
6 the transportation, aging and disposal canister, known as  
7 TAD, preclosure safety, surface facilities design and  
8 concepts of integration. And, I have asked Board member Mark  
9 Abkowitz to lead the discussion on the TAD's concept, and  
10 Board members Howard Arnold and Henry Petroski to lead the  
11 discussion on surface facilities design and concepts of  
12 operation.

13 Collectively, this Board meeting, and future Board  
14 meetings, will focus on DOE's effort to make transparent the  
15 integration and operation of the total waste management  
16 system, by which we mean from waste acceptance at the  
17 generator site to emplacement and preclosure operations of  
18 the repository, to performance demonstration and confirmation  
19 and, finally, closure of the repository.

20 The utility of the transportation, aging, and  
21 disposal canisters needs very careful review. Specifically,  
22 there is a need to establish the risk-benefit of the concept  
23 in the context of appropriate timelines and operations. The  
24 extent to which the TAD reduces the worker dose (a driver for  
25 the concept) as a result of less handling of the fuel is

1 dependent on such factors as the startup date of the  
2 repository and decisions on such fuel handling operations as  
3 on-reactor-site dry storage, dual purpose casks handling,  
4 spent fuel aging on pads at the repository, and possible need  
5 for interim storage.

6           The design of the surface facilities at the  
7 repository has not advanced to the point of demonstrating the  
8 optimization of the handling of spent fuel and radioactive  
9 waste in terms of facility complexity, operations efficiency,  
10 the costs associated with each, and radiation exposure. The  
11 issue is the need to address and make visible the impact of  
12 design on such performance measures as safety, efficiency,  
13 throughput and complexity.

14           Although the topic of thermal management is not on  
15 today's agenda, we do hope to have it on our agenda for the  
16 Board's winter meeting. It is among the more important  
17 issues when demonstrating an integrated waste management  
18 system. A technically based thermal management strategy has  
19 the potential to greatly simplify operations, particularly  
20 with respect to the need for waste aging pads and the  
21 frequency and duration of handling waste.

22           Other Yucca Mountain performance issues being  
23 closely followed by the Board include degradation assessments  
24 of the waste packages, radionuclide source term analyses,  
25 water infiltration rates, and long-term, that is, greater



1 than 10,000 years, long-term radiation dose assessments at  
2 the accessible boundary of the repository.

3           Finally on the matter of integration of the total  
4 waste management systems, our concerns are not only with the  
5 integration of activities within the Project, but also the  
6 integration of the project itself with other industrial  
7 entities. An example of activity integration is the linking  
8 of data and lessons learned from the site characterization  
9 program and exploratory tunnel operations to the design of  
10 both surface and subsurface facilities. The presentations  
11 today are intended to support the Board's desire to have  
12 transparency of all of the activities and the operations that  
13 affect the overall waste management system.

14           Now, let me briefly review today's agenda. As is  
15 customary, we will begin with an overview, both of the  
16 overall Office of Civilian Radioactive Waste Management  
17 program and, more specifically, the Yucca Mountain project.  
18 That overview will be followed by an update on the final  
19 performance specifications for the TAD by DOE. After a short  
20 break, we will hear presentations from industry  
21 representatives on the development of the TAD design. And,  
22 following these updates on TAD development, we will hear a  
23 two-part presentation of surface facilities design and  
24 operations.

25           Following lunch, we will have a presentation on the

1 status of the Preclosure Safety Analysis. The Board is  
2 interested in the general framework of the analysis, how the  
3 different scenarios are aggregated, the approach to  
4 importance ranking of safety issues and the development of  
5 the nuclear design basis for safety.

6 As usual, following the presentations, we have  
7 scheduled time for public comment, an aspect of our meetings  
8 that is very important to the Board. If you would like to  
9 make a comment at that time, please enter your name on the  
10 sign-up sheet at the table near the entrance of the room.  
11 And, of course, written comments are accepted and can be  
12 submitted, and they will be made part of the record.

13 Some of you have asked about questioning during the  
14 course of the presentations. Our preference is for you to  
15 write down your questions, and submit them to either Davonya  
16 Barnes or Linda Coultry. They're in the back of the room.  
17 We will cover as many of these questions as time will permit.

18 As we get into the presentations and discussion  
19 part of our meeting, it's important to know about how the  
20 Board tends to operate. Board meetings are spontaneous by  
21 design. We express ourselves freely, and we want to be able  
22 to continue to do that. So, when Board members speak  
23 extemporaneously, it is important to realize that we are  
24 speaking on our own behalf, and not on behalf of the Board.  
25 And, we'll try to distinguish between Board member positions

1 and positions taken by the Board.

2 As a final note, I am going to ask all of you to  
3 turn your cell phones and pagers to their silent mode to  
4 minimize any interruptions.

5 And, now we are very pleased to have Ward Sproat  
6 with us today to give us the overview of the program and the  
7 project.

8 Ward?

9 SPROAT: Thank you, John. Good morning, everybody, and  
10 welcome. And, thank you for the invitation to come and speak  
11 to the Board again this morning.

12 It's been just about exactly a year since my first  
13 appearance in front of the Board as the director of the  
14 program. And, at that time, I laid out to you the four  
15 strategic objectives that I've laid out for the program  
16 during my tenure in this office, and I laid out the best  
17 achievable schedule, which is consistent with a number of  
18 major milestones and deliverables that DOE needs to deliver  
19 to move the program forward.

20 In my time in this program, it seems like every  
21 time I get a chance to talk in public, I am continuously  
22 reminded by somebody about how people have heard DOE say  
23 we're going to do "X", we're going to deliver "Y", and it  
24 never happens. And, people always love to bring that up.  
25 Well, I'm here today to tell you and give you a report on

1 where we stand in providing the deliverables that I said we  
2 would provide a year ago, and where we are on the schedule to  
3 do that, and to let you ask me whatever questions you want  
4 about where we're going and what we're going to deliver from  
5 the program.

6           May I have the first slide, please? We're entering  
7 what I'm calling the period of delivery. And, what I'm going  
8 to talk about on this first slide is a fairly substantial  
9 list of major deliverables that this program needs to deliver  
10 to get to submittal of a license application to the NRC,  
11 including the license application itself. And, I want to run  
12 you through all the things you're going to be seeing coming  
13 out from the program over the next nine months, or shorter,  
14 because it's a substantial amount of work, all of which are  
15 absolutely necessary to support moving this program forward.  
16 And, I'm here to report to you that they are all either on or  
17 ahead of schedule with the requisite quality that we need to  
18 defend them in the public arena.

19           So, the first one is the Licensing Support Network.  
20 And, I think the Board is very aware of the Licensing Support  
21 Network, a rather large and extremely expensive tool to  
22 support discovery and litigation of the license application  
23 for Yucca. All the parties are required to certify their  
24 systems and their submittals to the Licensing Support Network  
25 and their processes for putting documents and keeping the LSN

1 updated.

2           DOE attempted to certify the LSN several years  
3 back, and failed miserably for a number of reasons. We are  
4 in the neighborhood of between four and six weeks away from  
5 certifying the LSN. The regulations require the LSN to be  
6 certified six months prior to license application submittal.  
7 The date I gave you last year at this time is we'd certify by  
8 December 21<sup>st</sup>. I'm going to tell you we will certify  
9 sometime in October, and it could be early October.

10           Right now, on the LSN, we've submitted about 3.5  
11 million documents. So, despite what you might hear from  
12 other people about, you know, DOE is hiding things and  
13 they're not putting things in the LSN, 3.5 million documents  
14 is a lot of documents.

15           We have approximately 8,000 documents that we've  
16 identified that are currently going through the update  
17 process to be loaded on the LSN. We expect that set of  
18 documents to be completed in the next two or three weeks, at  
19 which time I will do a final check of all of our internal  
20 certifications, our internal check lists, in terms of making  
21 sure we've done all the internal reviews, documentation that  
22 we need to have to be able to certify the LSN. And, I expect  
23 to be able to do that, as I said, sometime in the month of  
24 October. That will be the first major step forward towards  
25 the license application.

1           I told you last year that we were going to need to  
2   revise the Environmental Impact Statement for the repository,  
3   as well as for Nevada Rail, and that our target date for  
4   doing that was going to be approximately nine months prior to  
5   LA submittal. The Supplemental Environmental Impact  
6   Statement, the Draft Supplemental Environmental Impact  
7   Statement for the repository is at the printer. It's been  
8   signed out. It will be released to the public as soon as it  
9   comes out of printing, sometime probably the first week in  
10  October. And, then, the notice of public availability will  
11  go out as soon as that distribution is sent out to the  
12  various parties.

13           We will be holding hearings during the last quarter  
14  of the year here in Nevada and California and in Washington.  
15  We're going to provide a 90 day public comment period per the  
16  request of the counties and some of the intervenors. And,  
17  it's a high quality product, and Dr. Jane Sommerson  
18  (phonetic), who led that effort, with her team, did an  
19  outstanding job. So, the Supplemental Environmental Impact  
20  Statements are on schedule, and they will be out as we said  
21  they would. And, they will be there to support the submittal  
22  of the license application about nine months from now.

23           Something that's not directly tied to the license  
24  application, but one of the things I told you that I said I  
25  would do when I came in, when I talked to you last year at

1 this time, was three independent assessments. One was on the  
2 engineering processes that the program uses. How good are  
3 our engineering processes on design configuration, management  
4 design control, that type of thing. We brought in a team led  
5 by Longenecker and Associates, but they were really an  
6 integrator. They brought in a number of senior utility  
7 nuclear industry executives with engineering and plan  
8 experience. They came in for about three months. Their  
9 report is in printing right now. I'm not ready to go through  
10 the detailed results of that report, but I can tell you that  
11 it had a number of very positive findings. Most of their  
12 findings and recommendations are associated with  
13 inefficiencies in the way we're doing our engineering, not  
14 breakdowns in the processes. And, so, we will be releasing  
15 that report to the public probably sometime in early October.

16           The next report you're likely to see--I'm doing  
17 this in kind of a chronological sequence of expectations--the  
18 next report you're going to see is our release of the TSLCC,  
19 the Total System Life Cycle Cost Analysis. This is something  
20 that was last done and updated and released in around 2001.  
21 And, this is an estimate that says based on the current  
22 design, on the amount of fuel that we're going to have to  
23 dispose of, what's the estimated total cost of the system.  
24 This is going to be in constant 2000 dollars over 100-some  
25 year period, and that is currently in final draft form.

1 We're still making some editorial comments on the final  
2 draft, so I don't have an exact release date for that yet,  
3 but I expect it to be in October, November time frame.

4           It is going to show an increase over what the 2001  
5 TSLCC was, not unsurprisingly, but we will be very clear on  
6 what the key drivers are. And, two of the key drivers are,  
7 number one, there's a lot more fuel to get rid of. The  
8 assumptions back in the 2001 study, that was based on the  
9 current fleet of operating plants and the expiration of their  
10 current operating licenses. Well, since then, as you know,  
11 many plants have gotten life extensions. And, so, our  
12 projection of the amount of spent nuclear fuel that needs to  
13 be disposed of is up substantially, and that's one of the  
14 major cost drivers in terms of increase in the cost of the  
15 total system.

16           Obviously, inflation is another driver, and some  
17 revised estimates in terms of material costs, staffing costs  
18 for running the repository, that type of thing, are also  
19 secondary drivers. And, we will explain all that when it  
20 comes out. But, that's a major study that you should expect  
21 to see sometime in October, or so, and it will show that the  
22 total cost of the repository over its life will be higher  
23 than what was estimated in 2001.

24           Yes?

25           KADAK: 2000 dollars?



1           SPROAT: Constant 2000 dollars.

2           KADAK: Why not 2007?

3           SPROAT: Because the previous report was in constant  
4 2000 dollars, and we want to make it easy for people to  
5 compare the old report with the new report. And, you will  
6 see the factors in there. If you want to do the math to  
7 escalate it up to 2007 dollars, you can do that. We're  
8 trying to make this so that people reading the old report and  
9 the new report can see the differences in what's driving it.

10                   One of the other independent assessments I talked  
11 to you about last year was an independent assessment of  
12 Quality Assurance, both the programs in terms of how the  
13 programs are designed on paper, and how the programs are  
14 being implemented in the major organizations, DOE, BSC, SNL.  
15 That assessment is well underway. We're probably about a  
16 month or so from having that report finalized. We will  
17 release that report to the public also, and probably about  
18 that time, the Board may want to have a report on that, and  
19 we will be glad to do that. So, I'm not prepared to tell you  
20 yet exactly what that report says, because the assessment is  
21 still in progress, but you can expect to see that report  
22 sometime late this fall.

23                   The next report that you're likely to see, and the  
24 timing on this is somewhat variable, not because--let me just  
25 say the timing on the report is variable--is the Fee Adequacy

1 Assessment. The Nuclear Waste Policy Act requires the  
2 Secretary to evaluate whether or not the 1 mil per kilowatt  
3 hour fee imposed on the nuclear generators to pay for the  
4 repository is adequate. And, this Fee Adequacy Assessment  
5 was last released to the public in 2001, and we intend to  
6 release the updated version of this either late this year or  
7 early next year. It depends on exactly how long it takes us  
8 to finalize the report, and the recommendations in it.

9           It will obviously be based on the updated TSLCC  
10 that I just talked about. I can't tell you yet what that  
11 report is going to say, but it will be an honest assessment  
12 of whether or not the 1 mil per kilowatt hour fee is adequate  
13 to build the repository as the current funding mechanism for  
14 the repository is structured. It will not be necessarily  
15 just based on the current and projected balance of the  
16 nuclear waste fund, which by the way, the current balance of  
17 the nuclear waste fund is about \$20.5 billion, and it's  
18 generating a return of about 5.3 percent a year, which I'm  
19 not using or seeing right now.

20           So, I can't tell you exactly what the Fee Adequacy  
21 Determination report is going to say. I can't tell you  
22 exactly when I'm going to release it, but you will see it,  
23 and it will be released sometime probably in the next six  
24 months, or so.

25           Another report that you're going to see probably in

1 spring time, we have not set a firm date on this yet, is the  
2 Second Repository Report. The Nuclear Waste Act requires  
3 that the Secretary report to Congress on the need for a  
4 second repository prior to January 1, 2010. Well, we're  
5 going to report to Congress in 2008. This is kind of one of  
6 those reports like where you already know the answer. It's a  
7 matter of how you're going to present it. Everything stays  
8 exactly the way it is right now, 70,000 metric ton limit on  
9 Yucca, current operating fleet. That 70,000 metric tons will  
10 be fully allocated sometime when the spring of 2010 refueling  
11 outages are over. With that set of reactor core discharges  
12 in early 2010, Yucca is full.

13           So, we already know kind of like the final answer  
14 on what that report is going to say. Exactly how we say it,  
15 the options, how we present the options to a second  
16 repository, that we still need to work on. But, obviously,  
17 the report will have a lot of math behind it, and how we  
18 project the discharges and the capacity of the mountain, and  
19 all that kind of thing, but, we are going to issue that  
20 report next year, and we already know the primary answer.  
21 How we present it and what the options are going to be to  
22 that answer is still not clear.

23           Then, the Final Environmental Impact Statement for  
24 the repository and the rail line, Nevada Rail Line alignments  
25 will be issued probably in June.

1           And, then, finally, the license application. What  
2 I'll say about the license application is I've been very  
3 clear, very public about putting out front that we're going  
4 to get that license application into the NRC by Monday, June  
5 30, 2008. And, I'm telling you we are ahead of schedule in  
6 doing that. How ahead of schedule we'll be come March or  
7 April remains to be seen, but we are ahead of schedule to  
8 meet that date, and we will meet that date.

9           So, those are the reports and the deliverables that  
10 you are going to see coming out of OCRWM over the next nine  
11 months. And, I think you can see why I'm calling it the  
12 Delivery Season. These are going to be clearly scrutinized  
13 heavily. I'm sure there will be a lot of public posturing by  
14 various people when they come out, but rest assured that we  
15 are not producing these with the idea of we've got a schedule  
16 and we've got to get out whatever we have. We are putting a  
17 lot of time and a lot of effort to make sure we have very  
18 high quality documents that meet the needs of both the  
19 regulator and the stakeholders in defining this whole  
20 program. And, so, I am very optimistic, well, I'm more than  
21 optimistic, I'm certain we will make this happen on this  
22 schedule.

23           So, if we can go to the next slide? Let me give  
24 you an update on key issues that I'm paying attention to, and  
25 the Board probably would be very interested in also.

1           The first is fiscal year '08, which starts in two  
2 weeks, and the appropriations and budget situation for that,  
3 which obviously is important because to complete the  
4 Environmental Impact Statements, complete the engineering  
5 that's supporting the license application, support the  
6 science, work product completion that's supporting the  
7 license application, and the writing of the license  
8 application itself, all that is going to be paid for out of  
9 the fiscal year '08 budget.

10           The President asked for \$494.5 million for Yucca  
11 for fiscal year '08. The House of Representatives voted down  
12 an appropriations bill that gave us all of that money. I  
13 would like to point out, in case you missed it, that while  
14 the Energy Appropriations Bill was on the floor of the House,  
15 there was an amendment to the bill offered by Congressman  
16 Porter here in Nevada to basically strip out Yucca Mountain  
17 funding. That amendment was defeated by 351 to 80. Now,  
18 people have various opinions about the political support and  
19 the level, it is there bipartisan support in Congress for  
20 Yucca, and I am a political neophyte, but I'm smart enough to  
21 help you get 351 votes in the House of Representatives on  
22 anything, that's pretty good bipartisan support. So, very  
23 good support in the House.

24           In the Senate, the Energy Appropriations Committee  
25 voted out \$50 million less, reported out \$50 million less

1 than we asked for at \$444.5. They added in another \$1.5  
2 million for Inyo County in California for their drilling  
3 program. So, they reported out \$446.1. The Senate has not  
4 brought their Energy Appropriations Bill to the floor yet.  
5 It's not clear when that will happen. It is highly unlikely  
6 that it's going to happen before the end of the fiscal year,  
7 so we're expecting a continuing resolution for some period of  
8 time into '08.

9           And, that continuing resolution would be at this  
10 year's funding number, which is \$444.5, \$50 million less than  
11 what we asked for, about the same as what the Senate voted  
12 out. What I'll tell you is is that we have planned our '08  
13 spend plans and work plans for that number, the \$444.5. And,  
14 so, based on that, I do have a confidence level that we can  
15 get this license application in as we said we would. We'll  
16 have to see what happens with the continuing resolution.  
17 We'll have to see what happens with the Energy Appropriations  
18 Bills. No way for me to predict that, and I'm not going to  
19 try, but overall, that's where we stand for funding for '08,  
20 and we have our spend plans and our business plans set at  
21 \$444.5, and that's what we're going to start executing as of  
22 October 1<sup>st</sup>.

23           The license application. All I'd like to say about  
24 that is it is on schedule, and actually a little ahead of  
25 schedule, and that we are incorporating the results. We have

1 completed the Independent Assessment that I said we would do  
2 on that. We received a several hundred page report from our  
3 Independent Assessment team that had in excess of 20-some  
4 people on it, who looked at the previous draft license  
5 application from the 2004-2005 time frame, and generated  
6 several hundred comments/questions based on that. All of  
7 those comments and questions have been given to the LA  
8 writing team, so they have gone through all of them. And,  
9 they are dispositioning all of them as they are writing the  
10 license application.

11 So, we have a very high confidence level that that  
12 was a very worthwhile effort that is informing our content  
13 and style on the license application, based on this  
14 independent review by a number of very experienced people  
15 looking at the previous revisions.

16 Around the organizational issues, as you know, one  
17 of my second strategic objectives is about getting the DOE  
18 organization set up for long-term success. And, let me just  
19 talk about quality for a minute. Anybody who's been involved  
20 with this program knows that the program has had a set of  
21 issues with quality assurance in the past. And, I would  
22 invite you, if you haven't, to go to the GAO website and go  
23 under the Department of Energy GAO reports, and look at their  
24 recently released report on Yucca Mountain, which was posted  
25 on the website about four weeks ago.

1           And, this report was a followup to their previous  
2 report that was done, I think, in 2005, 2004 or 2005, on  
3 quality assurance and management of the program. And, I  
4 would invite you to read that. That study was done. The GAO  
5 team was in for almost three months. They were in  
6 Washington, they were out here, and if you are an experienced  
7 Washingtonian, knows that GAO does not like to write  
8 generally favorable reports when they look at other agencies.  
9 I would invite you to take a look at that report, and see the  
10 conclusions GAO has drawn regarding the turnaround the  
11 program has made in terms of management, in terms of quality,  
12 in terms of a number of things that GAO found problems with  
13 when they looked at the program two and a half or three years  
14 ago.

15           Their primary issue for the program is that, two  
16 things, one was it's too early to tell whether or not the  
17 license application is going to be a high quality license  
18 application. And, that's true. You know, we're in the  
19 writing stage. And, they had interviews with NRC and they  
20 asked NRC if they thought we were going to give them a high  
21 quality license application, and, of course, the NRC said  
22 don't know, haven't seen it. So, the GAO was a little  
23 frustrated. They couldn't draw any conclusions about the  
24 perceived quality of the license application that's going to  
25 come out.



1           And, the other thing they were just questioning was  
2 given this turnaround in the program, and the progress that's  
3 being made, can it be sustained after the Director leaves,  
4 which is a valid question. But, I made it very clear to  
5 them, you'll see my letter to them in the back of the report  
6 where I addressed that issue straight on, and said that I'm  
7 spending 50 percent of my time on the selection, the  
8 development, and the training of my senior leadership team,  
9 the senior FED leadership team. So, when I leave, that team  
10 is going to be taking this program forward without me being  
11 there, and they will do just fine. So, I'm very confident  
12 that when I leave the program, it will not have what I'd call  
13 reversion to the mean, from where it was before.

14           In terms of personnel, we have made some personnel  
15 changes. Paul Goen is my principal deputy, has moved out  
16 west to California to take the Director position in charge of  
17 the Stanford Linear Accelerator program out in Palo Alto.  
18 His family is from back there, and his wife's family is from  
19 back there, so they decided to make a move.

20           Cris Kouts is going to be up here in a minute and  
21 talk to you, who has had a very long history in the program,  
22 is my acting principal deputy director, and Chris knows more  
23 about this program than I certainly ever will, and I'm very  
24 comfortable with him in this role as the acting principal  
25 deputy director. I am conducting a search, and we will do a

1 set of structured interviews of a number of senior FED folks,  
2 both from inside the program and outside the program. My  
3 intent is to select my permanent principal deputy by the end  
4 of the year, but I'm not in any rush because Chris is pretty  
5 darned good, and he is a candidate clearly for that position.  
6 So, you need to be aware of that change and that potential  
7 change in that key leadership spot that's going to be heading  
8 up this program after I leave.

9 Paul Harrington, who you've met, was selected as  
10 the Director of Engineering for the program. So, very, very  
11 happy with that selection, with his background. Somebody who  
12 you have not met, but I'm sure you will, in the past, I have  
13 just hired in a very recently retired Navy Captain, Jim  
14 Hollrith, who ran the Navy Civil Engineering Corps, built  
15 bases in Europe and a number of other facilities. Very  
16 strong construction project management leadership background,  
17 and he is a very valued addition to my senior management  
18 team, and right now, he's moving into the position that's in  
19 charge of actually building the place, building the  
20 repository, and he's got the background and the leadership  
21 skills to pull that off.

22 So, my message here is that I am paying attention  
23 to the organization. I am paying attention to the people who  
24 are going to be here after I leave, and I've got very high  
25 standards in who I put in there. So, I don't have the same

1 concerns as GAO does about what happens after I leave, and  
2 I've got a lot of work still to do before I do leave to make  
3 sure that management team is cemented in place.

4           The last thing I want to talk about just briefly,  
5 and I've already talked about to some extent, is the Nuclear  
6 Waste Fund and the Fee. This issue of what I call Yucca  
7 Finance 101 is something that has taken me a full year to  
8 really start to comprehend and understand. If you have a  
9 bank account, like I have with the Nuclear Waste Fund, of  
10 \$20.5 billion, and you do the Total System Life Cycle Cost  
11 analysis and the Fee Adequacy Assessment, and you run all  
12 sorts of scenarios, and you take a look at how that money  
13 will last and, you know, in terms of the cash flow needs  
14 versus how much is in there, and the interest it's bringing  
15 in, and the fees bring in, it looks pretty good. It really  
16 does.

17           The problem is is that the program doesn't have  
18 access to that fund, and when Congress set up the Nuclear  
19 Waste Fund and set up the fee, it was very clear that their  
20 intent was, was that this program not be saddled with the  
21 annual appropriations process and not be saddled with the  
22 competing against all other governmental needs and Department  
23 of Energy needs for Energy Appropriations on an annual basis.  
24 They recognized that they're going to build a repository that  
25 has required cash flow between \$1 ½ to \$2 billion a year, you

1 needed to have a certainty of a revenue stream to get that  
2 program built, executed and build that repository on a  
3 schedule that made sense.

4           Unfortunately, when the Gramm-Rudman-Hollings Act  
5 got passed in the mid Nineties, the Nuclear Waste Fund fee  
6 was classified as mandatory receipts. The program itself was  
7 classified as a discretionary program. And, the law does not  
8 allow mandatory receipts to be used to pay for discretionary  
9 programs. Therefore, now, we have a disconnect between how  
10 the program gets funded and how the program, where the money  
11 comes from, how the money gets appropriated to fund the  
12 program.

13           As a result, each year, the fee comes in. That  
14 amount of the fee that doesn't get appropriated that year  
15 goes into the Waste Fund, and the Waste Fund continues to  
16 accumulate, build interest. Unfortunately, the interest and  
17 the unappropriated Waste Fund fee shows up in the Department  
18 of Energy's appropriations bill from the House and the Senate  
19 as an offset, which means essentially that money is being  
20 used in a current year offset in the year that the interest  
21 accumulates, and the year the revenue comes in. So,  
22 essentially, in order for me to tap, or for the government to  
23 tap the Nuclear Waste Fund to build the repository, whatever  
24 amount of money comes out of there has to be scored. In  
25 other words, it's deficit spending, which certainly was not

1 the intent when the Nuclear Waste Fund was set up, and the  
2 use of the fee was certainly not set up to be used that way.

3 Well, suffice it to say in my testimony in front of  
4 both the House and Senate Appropriations Committees, I have--  
5 there is a small group of people in D.C. who are very  
6 familiar with the budget process, who understand this, but  
7 most people don't. And, I have made it one of my key  
8 objectives in my remaining time here to go after this issue  
9 of funding the repository with the revenue stream that exists  
10 and was set up by Congress specifically to do this. Because  
11 right now, just to give you an idea, the appropriations for  
12 Yucca have been in the neighborhood of between \$350 to \$500  
13 million a year, and the budget targets that are set for the  
14 out years remain in that same range.

15 When we re-baselined the program, over the last six  
16 months, when we took a look at the new design, the new  
17 schedule, the staffing levels, and we re-baselined the entire  
18 program with the new milestones, what that shows is that the  
19 required cash flows on an annual basis are between \$1 ½ to \$2  
20 billion a year through 2023, starting in '09. And, clearly,  
21 the continuation of the way things have always been will  
22 never get us there. It just won't happen. So, I'm very  
23 pleased so far, that as I have talked about this with the  
24 Secretary and the Deputy Secretary, I've got very strong  
25 alignment and support in the Department of Energy to go get

1 this fixed from our CFO, our general counsel. I've had  
2 discussions up on the Hill with people who are very  
3 interested in trying to get this fixed, and we actually are  
4 going to have a hearing in the House Budget Committee in  
5 early October on the Nuclear Fund Liability issue. So, there  
6 is interest up there to go and make this issue visible, and  
7 to see what we can do to actually get it fixed.

8 I am not as confident that I'm going to be able to  
9 get this fixed in the next 14 months as I am that I'm going  
10 to get the license application in, but I'm going to give it a  
11 damn good try.

12 So, that's kind of my quick overview, if you will,  
13 of where the program is, what we've got coming up, what I'm  
14 paying attention to, and we're serious about making this  
15 work. So, with that, I'm going to open it up to questions  
16 from the Board.

17 GARRICK: All right, questions from the Board? Andy?

18 KADAK: Thank you. A couple of questions. You didn't  
19 mention EPA rule. Could you give us an update on where that  
20 stands and how that affects your license application?

21 SPROAT: The question is regarding the EPA rule, and I  
22 think most people who have followed the program know that by  
23 the Nuclear Waste Policy Act, the Environmental Protection  
24 Agency has the responsibility to generate the requirements  
25 for the long-term exposure limits for the repository, and

1 that NRC has to adopt those standards into their regulations.  
2 And, EPA issued their regulations several years back. They  
3 were challenged in federal court. There's an aspect of part  
4 of those regulations associated with long-term exposure and  
5 peak dose that were overturned.

6 EPA has redrafted the standard, has sent it out for  
7 comments. The comments have been incorporated. It's in  
8 final draft. It is in interagency review, and I believe it's  
9 down to one--there are discussions going on between the  
10 Department of Justice, EPA, OMB, I believe DOE is in those  
11 discussions. I am not in those discussions, so I don't know  
12 exactly all the details. But, we do expect that to be issued  
13 shortly. Of course, I expected that to be issued shortly  
14 last December, but it's out of our hands. So, I don't know  
15 exactly when it's going to get issued.

16 What I can tell you is it does not have an impact  
17 on our license application, because we know whatever the  
18 final number is that EPA puts out, and the NRC adopts, there  
19 is greater than a 50 percent chance it will get litigated  
20 again, and the end result of that litigation is at least  
21 three years off in the future, if by then. So, what we've  
22 done is when you see the Environmental Impact Statements come  
23 out, and when you see the license application come out,  
24 you're going to see the TSPA runs that show long-term  
25 postclosure performance out to a million years plus. You'll

1 see where the area of peak dose is, and you will be able to  
2 take that chart and you will be able to see when a final  
3 number gets finalized, where is that final number relative to  
4 the chart. And, the NRC will need to do that before they  
5 actually issue the construction authorization. But, I don't  
6 need it to get the license application in.

7 GARRICK: Mark?

8 ABKOWITZ: Abkowitz, Board.

9 Ward, I wanted to explore with you a little bit  
10 what happens after June of 2008, what your plans are. My  
11 understanding is there's no requirement that the NRC make a  
12 docketing decision within a specified period of time. And,  
13 given the rapid pace at which you're still trying to resolve  
14 issues, for example, around surface facility design and  
15 preclosure safety analysis, I can envision a scenario where  
16 your application might be considered incomplete, in some  
17 respects, in terms of how the NRC is prepared to review an  
18 application. And, so, consequently, it's certainly realistic  
19 that there may be a period of time here where the need to  
20 prepare and submit additional information will be essentially  
21 recommended from NRC to DOE, and there will be a need to  
22 respond in some timely fashion.

23 SPROAT: Sure.

24 ABKOWITZ: Could you go into some detail as to what  
25 happens with your leadership and your activities planning



1 following June of 1008?

2           SPROAT: Sure. Good question. First of all, in terms  
3 of where we stand right now, we're having a series of what we  
4 call technical exchange meetings, which are public meetings,  
5 with the NRC staff on a number of very specific technical  
6 issues. Had one just last Friday that I attended on license  
7 application content around specific issues, including PCSA.  
8 So, we are, we believe we have a very good understanding of  
9 what their expectations are. We're trying to give them, as  
10 best we can, a good picture of what our approach is in terms  
11 of level of detail in the license application.

12           I fully expect, contrary to some public statements  
13 I've read that other people have made, this is going to be a  
14 complete application. I think, as the Board knows, when I  
15 first got here, there was talk at that time that there would  
16 be multiple parts of the application. Now, an application  
17 just covers certain early--certain surface facilities, and  
18 something else comes later, I said no, we're not doing it  
19 that way. This is one, full, complete application. And, as  
20 we are writing this license application, we are being very  
21 judicious in terms of reviewing acceptance criteria that the  
22 NRC has in NUREG 1804 about the level of completeness they  
23 expect to see. So, I have a very high confidence level that  
24 this LA will be complete to meet their needs for docketing.

25           One of the ways I intend to make sure we have

1 enough time while I'm here to get this docketed is get it in  
2 before June 30<sup>th</sup>. And, that's why we are working the  
3 internal schedules sooner than that date, and that's why I'm  
4 able to tell you right now we're ahead of schedule compared  
5 to a June 30<sup>th</sup> date. But, I'm not ready to tell you yet  
6 exactly when it's going to happen. It's still too far out in  
7 the future.

8           The discussions we had with the NRC in our  
9 technical exchange just last Friday, the question of the  
10 acceptance review period, which is that period, once we put  
11 it in, they have to decide whether they're going to accept it  
12 for docketing, we talked quite a bit about that period in  
13 terms of what the NRC staff would do and the kind of detail  
14 they would expect to see. And, they told us, you know, they  
15 expected that that review could last up to six months. They  
16 said it could be shorter than that, but because of,  
17 obviously, first of a kind regulation, first of a kind  
18 facility, wide range of technical issues, and, just from a  
19 resource constraint standpoint that they have in terms of  
20 people they would have to read the license application and  
21 the Environmental Impact Studies, that it very well could  
22 take up to six months. And, so, we recognize that and we are  
23 prepared to support their acceptance review to get them  
24 information they need to do that. But, part of my strategy  
25 is get it in before June 30<sup>th</sup>. I'm not sure if that fully

1 answered your question or not, but that's about the best I  
2 can do right now.

3 GARRICK: Ali?

4 MOSLEH: The Total System Life Cycle Assessment, how  
5 much of that depends on the level of detail that you have in  
6 the design? I assume that that's an important valuable.

7 SPROAT: It is. What we did is the new baseline for the  
8 program that we issued in, I guess, March or April is based  
9 on the current design. And, we got down to the point where  
10 we had, we've estimated, quantities of structural steel,  
11 concrete, rebar, and for the buildings themselves, the shells  
12 of the buildings, the thickness of the walls, those type of  
13 things, we've been able to estimate those fairly well. So,  
14 the TSLCC, when it comes out, will be reflective of the  
15 current design.

16 Now, obviously, what we did is the original  
17 estimates were developed by BSC, our contractor who has  
18 designed the buildings, we brought in Burns and Rowe, who has  
19 nuclear construction experience, to do an independent review.  
20 And, they reviewed things like, you know, for a building size  
21 of this footprint, nuclear seismic structure, are our  
22 estimated quantities for concrete, steel, you know, cable,  
23 those type of things, are those appropriate or not, and we  
24 actually made some changes based on that review. And, then,  
25 plus, we made a decision that we would include contingency

1 and management reserve at a level that allows us to have an  
2 80 percent confidence level in the results of the estimate.  
3 In other words, there's an 80 percent chance that the actual  
4 cost will come in at or below the numbers we've estimated.

5           So, we have a pretty good, like I said, we have an  
6 80 percent confidence level that we've got a pretty darned  
7 good defensible cost estimate of the facilities that have  
8 been cranked into that TSLCC. That is one of the major cost  
9 drivers.

10           Quite frankly, some of the other major cost drivers  
11 are just the number of TADs and casks and transportation  
12 overpacks. I mean, those are significant costs, and the  
13 waste packages. The more fuel, the more waste packages, the  
14 more metal that you're going to stick in the ground. So,  
15 those are major revisions from the previous cost estimates  
16 that were done back in 2001.

17           GARRICK: Ward, you were fairly optimistic about the  
18 second repository report as to what it was going to say, or  
19 what have you. Is there an activity that's ongoing in that  
20 regard? Specifically, is there a team working on that report  
21 now? And, is there equivalent of a table of contents or a  
22 spec on what that report is going to be beyond what has been  
23 mandated by Congress?

24           SPROAT: No, not yet, John. The underlying calculations  
25 in terms of what's the current spent fuel inventory, what is

1 the inventory we're projecting by certain dates from each  
2 plant, we have that data and we've had it for a long time.  
3 That's part of what Chris Kouts' group does. I mean, they  
4 keep track of each plant, what its discharge rates are, how  
5 many bundles we expect to come out, and so we have a pretty  
6 good forward looking projection of spent fuel inventory,  
7 which is kind of the basis of what is going to drive the  
8 conclusions in this study and analysis. So, that's there for  
9 us to draw on.

10 But, the actual writing team, in terms of putting  
11 together the table of contents, and the selection of options  
12 to be discussed, alternative options to be discussed, we  
13 haven't done that yet. So, you know, we'll start that--we  
14 budgeted that activity in fiscal year '08, so I would expect  
15 we would pull that group together and get them started  
16 sometime this fall.

17 GARRICK: Thank you. Andy?

18 KADAK: Kadak, Board.

19 The budget for next year is going to be \$444  
20 million. That's a lot of money. We've been hearing talk  
21 about layoffs at various DOE contractors, and so forth.

22 SPROAT: Yes.

23 KADAK: And, we're also kind of interested in the status  
24 of the tunnel, and making sure that that's useful during the  
25 period of license review. And, I guess the question is what

1 is it that you're going to be doing in the next couple of  
2 years while the NRC is reviewing the application for \$444  
3 million?

4           SPROAT: Well, let me just talk about--there's a couple  
5 different pieces to your question. Let me talk about '08,  
6 and that funding level and layoffs. I think I told the Board  
7 before last time we got together that there would be layoffs  
8 on the program, regardless of the funding level for '08,  
9 because our appropriations for '07 were at the \$444.5 level,  
10 but we had \$100 million of carry-over. So, we have a burn  
11 rate through '07 of 544. And, even if we got the full 495  
12 that the President requested, that's a \$50 million reduction.  
13 We're not building anything, so, that's strictly salaries.  
14 So, there would have been a layoff anyway.

15           What we are doing now, actually what we did this  
16 summer, as we set the spending plan at \$444.5, the lower of  
17 the House and Senate mark, we put our plans together to be  
18 very clear about what our head count needed to be and how it  
19 needed to come down going into fiscal year '08, and then  
20 after we're in fiscal year '08, with the primary objective  
21 being get the license application completed, and its  
22 supporting engineering and science work products. That's  
23 where the money is going.

24           And, quite frankly, we have taken money away from  
25 upkeep, quote, unquote, of the tunnel. Now, there are still

1 scientific collection activities going on in there, and we  
2 make periodic entries to collect that data, check on the data  
3 loggers, and that type of thing. But, it's not a priority  
4 for us right now.

5           Now, as we go forward in '09, and I can't talk yet  
6 about what the budget request is that we've sent to OMB for  
7 '09, but it's going to depend on so what do we actually get.  
8 The program plan that we've laid out that gets us to an  
9 opening date somewhere between 2017 and 2019 is that there is  
10 a significant ramp-up in spending starting in fiscal year  
11 '09. If we don't get that significant ramp-up in spending,  
12 the program is going to extend out. We'll be very clear with  
13 Congress every year of this is what we asked for, this is  
14 what we got, here is the impact on the opening date of the  
15 repository.

16           So, we're going to treat this like we would in the  
17 private sector. If you're running a major project and go to  
18 the board of directors and you say here's what I need, and  
19 they say well, you can't have that much, you can only have  
20 this, the next answer is well, here's the impact of that.  
21 That's what we're going to be doing, telling Congress each  
22 year. So, in terms of what we will be doing in '09, clearly  
23 number one is defense of the license application, retention  
24 of the scientific expertise, retention of the engineering  
25 expertise, and the legal expertise to defend the license

1 application for the three, four, or five year proceeding that  
2 we're going to go through. That's where the primary focus is  
3 going to be.

4 But, in order to maintain critical path on the  
5 program on the baseline we laid out, there's a lot of other  
6 work that needs to go on, the design and construction of  
7 Nevada Rail, the detailed design of the repository and the  
8 surface facilities, the procurement of the TADs. There's a  
9 lot of other stuff that is in that cash flow that if the  
10 funding isn't there, we'll get delayed, and the critical path  
11 just gets pushed out.

12 KADAK: Are you doing a review of--there are going to be  
13 layoffs--but, making sure that those critical people who have  
14 been working on this project, whose knowledge you really  
15 need, don't go away and work for some other industry or  
16 company?

17 SPROAT: As best we can. Absolutely. We put together a  
18 license defense targeted team list in both Sandia, BSC, so  
19 that we know by names who we want and what we want them for,  
20 and to make sure that we retain them as we go through this  
21 effort.

22 GARRICK: David and then Bill.

23 DUQUETTE: Normally, the Board doesn't get involved with  
24 economics, but you seem frustrated at not being able to  
25 access the Nuclear Waste Fund. The fact of--the calculation



1 tells me that the Nuclear Waste Fund is generating about a  
2 billion dollars a year in interest, or in return investment  
3 right at the moment. You're spending about half of that,  
4 which means that you're re-investing half, which seems like a  
5 nice economic model since you can't build anything until your  
6 license has been approved. So, it seems to me that the--  
7 until the license is approved, you can't do major  
8 construction projects anyway. And, assuming that Congress  
9 will release some of the Nuclear Waste Fund for actual  
10 construction, it doesn't seem like it's that bad of an  
11 economic model. Now, it would be very interesting to see  
12 what your cost analysis looks like for the total project.  
13 But, I do think that as a citizen, rather than a Board  
14 member, that the economic model doesn't look that far off  
15 base.

16 SPROAT: You're right. If the economic model worked the  
17 way it was intended, but it doesn't. That \$20.5 billion, the  
18 only way that would get spent and allocated to this project  
19 is if it was appropriated and scored as deficit spending.  
20 Congress has shown no interest in doing that, and the current  
21 basis through the appropriations process doesn't allow it.

22 The other supposition that we can't do any  
23 construction prior to a construction authorization is not  
24 clear, and I disagree with, particularly around Nevada Rail.  
25 Nevada Rail is on the critical path of opening the

1 repository, because we need the rail line to support  
2 construction. It is not under any kind of NRC licensing  
3 regime, and it's part of the construction and infrastructure  
4 that we need to get this thing done.

5           If you were doing this project in the most  
6 efficient way, which is somewhat of an anathema of the  
7 government, I understand that, but that's my job, is to get  
8 this done the most efficient way, you don't wait until you  
9 get your construction authorization and turn around and say  
10 okay, now, what do I need to do. Maybe you ought to put a  
11 road into the site, or maybe I ought to go bring transmission  
12 lines and have electric power at the site. You don't wait  
13 until then. You do it now. And, that's how we've built the  
14 critical path baseline of the program. So, we need money now  
15 to get that going, and that's what we intend to go after.

16           DUQUETTE: That's assuming the license application will  
17 be approved eventually.

18           SPROAT: I'm not going to wait until the license  
19 application is approved to get the infrastructure going that  
20 we need to build this on the shortest potential critical  
21 path.

22           GARRICK: Bill?

23           MURPHY: Bill Murphy, Board.

24                    Last September when you spoke to us, you were  
25 relatively new to the program at the time, and one of the

1 points that you made was that you were interested to  
2 identify, according to my notes, key risk driving  
3 uncertainties. And, I'm particularly interested in those  
4 uncertainties in scientific problems that pose risks for the  
5 repository. And, I wonder if in the interim, and at this  
6 stage, you have identified scientific problems that are key  
7 risk driving uncertainties.

8         SPROAT: Let me answer the question in two parts. First  
9 of all, I'm not the right person to answer the question to  
10 the level that I think you want, because I'm certainly not  
11 expert or well versed in all of the uncertainties and  
12 uncertainty bands around key drivers in the TSPA. Other  
13 people are much better prepared to do that.

14                 What I was speaking about then is that one of the  
15 issues I had a concern about was within the TSPA framework,  
16 from what reading I had done, was were our models consistent  
17 in the application of uncertainty and the characterization of  
18 uncertainty in the various parts of the model. And, so, one  
19 of the things I did is turn to Sandia, which is our lead lab  
20 and has responsibility for that analysis, and said I need you  
21 guys to take a look at how the various models in the TSPA are  
22 handling uncertainty, and do we have a defensible consistent  
23 approach to that across the set of models, the suite of  
24 models. And, they've done that and the answer is yes, and  
25 they've developed a very--I know they have developed

1 specific, I won't use the term procedures, but program  
2 guidance that's applied across the AMRs for doing that. And,  
3 that's the best answer I can give you because I'm not  
4 prepared to go any deeper than that. So, Sandia has answered  
5 my concern about that from the level I'm concerned about,  
6 which is consistency of approach.

7 MURPHY: Thank you.

8 GARRICK: Any other questions? Andy?

9 KADAK: I've got three semi-technical ones. Could you  
10 tell me what the program is doing relative to acceptance of  
11 MPCs or DPCs without repackaging? That's number one. What  
12 the program is doing--

13 SPROAT: You're assuming I can remember all three of  
14 these?

15 KADAK: Well, I'll remind you. What the program is  
16 doing on burnup credit, which is somewhat related, and what  
17 the program is doing relative, which is a cost driver, on  
18 seismic design, which from what we've read is enormous  
19 relative to surface facilities? So, it's acceptance of  
20 existing waste storage and transport canisters, burnup  
21 credit, and seismic design.

22 SPROAT: I'm not going to answer the third because  
23 whatever I say will probably be wrong. But, we have other  
24 people here who will be able to answer that. Claudia, we  
25 have somebody you think can answer that in a way that's--not

1 right now, but--okay, I'll probably want to do that on the  
2 record.

3           The issue of the burnup credit, there is--we think  
4 we have a path forward. There have been a number of  
5 exchanges, technical exchanges between the NRC and us on  
6 criticality analysis and burnup credit. I am not versed well  
7 enough in the details of that that I'd want to engage the  
8 Board on that myself. I'd want to have somebody else do  
9 that, and we'll see if we can do that later today or this  
10 afternoon.

11           On the MPCs, we have drafted a proposed amendment  
12 to the standard contract that basically says that for those  
13 who are willing to sign that amendment, we'd be willing to  
14 take their MPCs, you know, and put them in transportation  
15 overpacks and take them to Yucca, and open them up and then  
16 put the fuel in the TADs through our wet handling facility,  
17 if they're willing to use TADs. So, we are in negotiations  
18 with contract holders right now on incorporation of that  
19 amendment. So, we have told them we would be willing to take  
20 their MPCs.

21           KADAK: The one reason that we were concerned about the  
22 original plan of handling bare fuel was the number of fuel  
23 handlings taking place. So, what I was really trying to get  
24 at is trying to avoid the reopening of the canisters.

25           SPROAT: Right.

1           KADAK: So, no effort on that front?

2           SPROAT: It can't be ruled out. But, what I'd say is  
3 that given the number of those situations, that it's not in  
4 our baseline design that we'll describe in the license  
5 application. We have a wet handling facility to open them  
6 up, repackage them in the waste packages, and send them  
7 underground. So, that's the base design. Once we get  
8 through the licensing process and we see how that plays out,  
9 and we know what we can do and what we can't do, what  
10 potential limits we might have, if that makes economic and  
11 risk sense, there is no reason why we shouldn't be able to do  
12 that. But, we need to do more, some more homework before  
13 we're ready to do that, and I'm not willing to put that into  
14 the license application as the base design at this stage of  
15 the game, given the cost benefit of doing that at this stage  
16 of the game. We have not ruled it out. It's just not in the  
17 base design as we're going to describe it in the license  
18 application.

19           KADAK: As long as you have someone looking at it, I  
20 think that's a good thing. But, I'm not hearing a lot of  
21 words about even people studying the option.

22           SPROAT: We're not putting a lot of money into it now  
23 because it's not going into the license application. I've  
24 got to put that money somewhere else where I get a bigger  
25 bang for the buck. It's strictly a project management issue.

1           KADAK: Do you have a feel for the number of canisters  
2 that will be in storage casks at reactor sites by the time  
3 Yucca Mountain opens?

4           SPROAT: Very good question. Ask Chris Kouts that  
5 question when he comes up.

6           KADAK: He knows. I just wondered if you did. It's a  
7 big number.

8           SPROAT: I'm sure it is. I try not to remember big  
9 numbers like that. I remember big numbers like \$20.5 billion  
10 in the Waste Fund that's not spent.

11          GARRICK: Okay. Any other questions? Any questions  
12 from the Staff? One question. Go ahead, Dan.

13          METLAY: Dan Metlay, Board Staff.

14                 In August, you folks issued a draft national  
15 transportation plan, which was subsequently withdrawn. Do  
16 you have a sense as to when that would be re-issued?

17          SPROAT: It's news to me that that was withdrawn. That  
18 was sent out for comment, for public comment, and I think the  
19 public comment period is either open or just about done, and  
20 the intent is then take those comments and revise it and re-  
21 issue it. And, the intent is it's a living document that  
22 will continue to grow and expand as we get further down the  
23 transportation planning process. But, it's news to me that  
24 it was withdrawn.

25          METLAY: Okay.

1           GARRICK: All right. Well, thank you very much, Ward.  
2 That was a very interesting and comprehensive overview, and  
3 we know how tight your schedule is, and we very much  
4 appreciate your being here.

5           SPROAT: I appreciate the Board's interest. Thank you.

6           GARRICK: Thank you. All right, we'll now go into the  
7 next phase, which I'm turning over to Mark Abkowitz, and I'll  
8 point out to Mark that we're right on schedule, and he's  
9 obligated to sustain that high level of performance.

10          ABKOWITZ: Yes, sir. Thank you, John.

11                 As Dr. Garrick indicated, we have a series of  
12 presentations here that will be looking at the TAD program,  
13 and an update on its development. The Board has been  
14 following the TAD initiative quite closely over the past  
15 couple of years, and has been particularly interested in the  
16 timeliness of the availability of a TAD canister, as well as  
17 its ability to handle the vast majority of commercial spent  
18 fuel.

19                 The way we have the sessions organized today is  
20 we'll be hearing from two different entities. The first will  
21 be an update from Chris Kouts from the Department of Energy,  
22 following which we will take a short break, and then we will  
23 hear an industry update after we resume from break.

24                 Chris Kouts really doesn't need an introduction  
25 because he's spoken many times before in front of the Board,



1 and I think Ward Sproat did an ample job of describing how  
2 important Chris is to the OCRWM program. But, let me just  
3 point out that in addition to his current capacity as Acting  
4 Principal Deputy Director of OCRWM, he has been with the  
5 OCRWM program for 22 years, which also makes him the curator  
6 of the institutional memory of the program.

7           So, with that as background, Chris, you have the  
8 floor.

9           KOUTS: Thank you, Dr. Abkowitz. Do we have a clicker  
10 or--it's going to be hard for you to do it, but--

11           While we're dancing around here, first of all, it's  
12 good to be back in front of the Board. I'm going to try to  
13 give you an update on where we are with the TAD canister  
14 development effort. As Ward indicated, I wear two hats. One  
15 is Acting Principal Deputy, but I also wear my other hat,  
16 which is the Director of the Waste Management Office, which  
17 is responsible for the development of the TAD concept.

18           We announced going to a primarily canister based  
19 approach for the acceptance of commercial spent fuel in  
20 October of 2005. And, there are a variety of good reasons  
21 why we did that. As the viewgraph indicates, it certainly  
22 supports the standardization of the handling of these  
23 materials at utility sites, through the transportation system  
24 and at the repository. It certainly simplifies our  
25 facilities at the repository, reduces our low-level waste,

1 and makes it a lot easier on us.

2 On the other hand, it does create some challenges  
3 for the utilities, and we're working to minimize those  
4 challenges as we implement the program.

5 Next slide, please. To go into the way back  
6 machine, we issued a preliminary specification for TADs and  
7 our vision of what TADs had to be in order for it to operate  
8 effectively at the repository, and also at utility sites and  
9 through the transportation system back in November of 2006,  
10 and we initiated a proof of concept design at that time.

11 We identified four qualified vendors, who are named  
12 on the screen here, who developed proof of concept reports.  
13 We essentially received those proof of concept designs back,  
14 and completed our review in March of this year.

15 Subsequent to that, we initiated a procurement  
16 after we had the proof of concept designs, we initiated a  
17 procurement effectively that allowed us to go forward to the  
18 final design effort. And, prior to initiation of that  
19 procurement, we issued a final specification. You might  
20 remember, we issued a preliminary one back in November. We  
21 issued a final in June. Actually, it was serendipitous with  
22 my attendance and presentation at an ACNW meeting at the NRC.  
23 We issued a press release, and at that point in time,  
24 indicated what the final specification would be.

25 Then, we issued a solicitation in July of this

1 year. I believe it was July, if you're interested in  
2 specific dates, July 11<sup>th</sup>. The specification went out on our  
3 internet site on the 19<sup>th</sup>, I believe, of June. We have  
4 received proposals. The solicitation closed on August 24<sup>th</sup>,  
5 and right now, we're in the process of evaluating those  
6 proposals.

7           And, if you're going to ask me questions about  
8 them, it's procurement sensitive, so I won't be able to  
9 answer them. If you're going to ask me how many proposals we  
10 received, I'll say I can't tell you. If you're going to ask  
11 me when you're going to make an award, all I can say is as  
12 soon as we can. So, that process is underway. It's  
13 procurement sensitive, and I really won't be able to discuss  
14 it, so I try to get those questions out of the way to save  
15 you the trouble of asking them.

16           Let's talk a little bit about the final TAD  
17 performance specification that we issued in July. It, as the  
18 preliminary one did, essentially delineates all the  
19 requirements that we feel we need for the repository itself  
20 to deal with our postclosure needs and our preclosure needs,  
21 and, also, there are a variety of aspects to that that make  
22 it a little easier to handle at the repository, and makes our  
23 surface facilities more efficient.

24           We didn't change the capacity going from the  
25 preliminary to the final. We're still at 21 PWRs and 44

1 BWRs, and if you're going to ask the question well, why can't  
2 we go to larger ones, as Dr. Kadak would say, when you look  
3 at the existing DPCs, they are substantially larger in terms  
4 of capacity than what we're looking at at the TAD. And, the  
5 issue that we have is that we feel that if a TAD is designed,  
6 manufactured, loaded and sealed in accordance with our  
7 requirements, that is disposable at Yucca Mountain. And,  
8 that is the subject of our analyses.

9           If we wanted to go to some other construct, we  
10 would have to go through that analysis and see whether or not  
11 we can make that case to the Nuclear Regulatory Commission.  
12 But, from our perspective, we feel the TAD works, and will  
13 work in our license application, and will be sustained in our  
14 review. To look at, you know, different situations,  
15 different concepts of canisters, and so forth, that would  
16 have to be a different evaluation.

17           Again, a lot of the issues that drove the TAD  
18 specification had to do with postclosure needs, what our  
19 long-term criticality materials are, and how they are  
20 arranged in the basket, and so forth. So, in order to make a  
21 change to that, you're going to have to go back and do a  
22 variety of iterations with our TSPA to see whether or not we  
23 can make the case for that. And, again, as Ward indicated,  
24 we are not essentially investing in that at this time.

25           KADAK: Could you answer the question for Ward in terms

1 of how many canisters or MPCs will be in storage at reactor  
2 sites by 2017 when the first canister is shipped?

3 KOUTS: Okay, let me try to answer it this way. Right  
4 now as of this year, there are about 9,300 tons in storage.  
5 But, I will say that probably less than half of those are  
6 transportable. A lot of them are in storage only overpack.  
7 So, the storage only overpacks are kind of off the table  
8 because you can't get them to Yucca Mountain. As we proceed  
9 into the future, obviously, that number is going to rise, and  
10 we do have projections for 2017 and 2020. I can't pull them  
11 out of my brain at this time. But, we do have those  
12 estimates available. It's a lot of fuel, and I believe in  
13 the 2017 time frame, we're looking at, ballpark, something  
14 like 17,000 metric tons that potentially will be in dry  
15 storage.

16 What our intent here is that if we can get TADs out  
17 in the marketplace, and effectively in the 2011, probably  
18 2012 time frame, we can hope to encroach upon that amount  
19 that is being deployed at reactor sites. And, as Ward  
20 indicated, we are trying to provide incentives to the  
21 industry in order to utilize TADs. We've gotten some fairly  
22 positive feedback from those who we've talked to, and we're  
23 hopeful that we'll be able to penetrate that market, and  
24 hopefully reduce the burden as we go into the future,  
25 because, again, the TADs as we envision them are disposable.

1 They don't have to be repackaged, and we would certainly want  
2 as many of those deployed as possible prior to the time that  
3 we started waste acceptance.

4 KADAK: Thank you.

5 KOUTS: One of the big changes from the preliminary to  
6 the final spec had to do with the length of the canister.  
7 The original specification, the preliminary one that went  
8 out, basically was a one size fits all at 212 inches. We've  
9 allowed that to float downward to no less than 186. That  
10 allows a substantial greater amount of utilities to be able  
11 to be serviced by a TAD canister. So, that was one of the  
12 big changes from the preliminary to the final spec. The  
13 diameter stayed the same, roughly about 66 ½ inches. Next  
14 one, weight, was the same. Maximum average dose, this is all  
15 fed into our preclosure safety analysis calculations. This  
16 is with a shield plug at the top of the cask at 800 mr per  
17 hour, and there's also in the specification, it's allowed to  
18 go up to, I believe, 1 rem in certain areas of the cask.  
19 But, the average, of the top of the TAD, but the average has  
20 to be no greater than 800 mr per hour.

21 Borated stainless steel is the required neutron  
22 absorber for disposal. They need to be seal welded. They  
23 are handled in a vertical orientation at the repository.  
24 Also, we'll have a common lifting fixture for ease of  
25 handling. And, of course, organic, pyrophoric, and RCRA

1 materials are prohibited, which again are the requirements  
2 for our site.

3           What you're seeing now, a picture sometimes says a  
4 thousand words, moving pictures sometime say more, this is  
5 essentially how a TAD would be loaded, either at a utility  
6 site or at our wet handling facility. You just saw the  
7 canister go into the transfer cask. It's going into the  
8 pool. You'll see it will be about 20 minutes before you get  
9 44 assemblies in here. We only do about two of these to  
10 demonstrate it. But, you'll see the assemblies being pulled  
11 out and into the canister, into position, and we would expect  
12 these same operations, and effectively, we want these  
13 designed to be essentially handled the same way that  
14 utilities handle dry storage in canisters on their site  
15 today.

16           So, with the second one, basically, what's going to  
17 happen is the transferred cask is going to be picked up out  
18 of the pool. It's put on first, and basically that's what  
19 happens at the pool. What we have here is, what you're going  
20 to see, is the welding fixture, first of all, it will have to  
21 be drained somewhat, drained and dried, and then welded, if  
22 you will.

23           Okay, that's the first vision I wanted to show you.  
24 The second one has to do with just the transfer of that to a  
25 dry storage in a vertical configuration. Basically, it's

1 being lifted on top of the aging overpack. The canister is  
2 being transferred in. We'll put a lid on. Actually, these  
3 are lifting features that will go in first, then the lid--no,  
4 the lid goes first, and the lifting features next. And,  
5 then, it goes out to the storage field, and, hopefully, not  
6 at this velocity, and placed into the storage field.

7           Okay, the next is how this can also be handled in  
8 a--that was a vertical configuration--I think we go to a  
9 horizontal configuration next, which is essentially the same  
10 process. You transfer the canister and transfer cask into  
11 the aging overpack. The lid is put on, and then it's put on  
12 trunions and let downward and taken out. You're probably  
13 familiar with that configuration. It's used at the various  
14 sites around the industry.

15           And, the last one is just transfer into a  
16 transportation cask. This would be at a utility site. It  
17 would be loading essentially to put it directly into a cask  
18 to take it to Yucca Mountain. These are the trunions for  
19 lifting features, and we have the inflatable impact limiters,  
20 and it goes off. We don't use inflatable impact limiters,  
21 but they look inflatable at this point. Our graphic artist  
22 had some fun with that.

23           So, those are essentially just to give you a sense  
24 of how these would be handled, both at utility sites and at  
25 the repository.



1           To summarize my presentation, the final spec can be  
2 found on our website at that address. The procurement, as I  
3 mentioned earlier, the solicitation was issued, proposals  
4 have been received, and they are currently under evaluation.  
5 And, I'll be happy to answer any questions that you may have.

6           Yes, Henry?

7           PETROSKI: Petroski, Board.

8           These computer schematics are interesting, but what  
9 about physical prototyping and physical testing of these  
10 operations, do you have any plans for that?

11          KOUTS: Actually, we don't feel that we need to go to a  
12 prototype phase. We think that this can go directly for use  
13 at reactor sites without going through a prototype. What we  
14 heard at the proof of concepts phase was that the vendors  
15 basically were doing analyses based on the current canisters  
16 that they had, and they're very comfortable with what's being  
17 done today. So, I don't think we need to go that extra step  
18 in order to go to a prototype. So, I think we're going to go  
19 directly from the design phase to licensing, and then  
20 deployment.

21          Now, one of the things I'll also say is that part  
22 of the requirements of the solicitation would be that the  
23 vendors need to couple with an industry entity in order to  
24 get these deployed as quickly as possible. And, we're aware  
25 that those contacts have been made, and we're going to make

1 sure that these--we're just not designing them with no place  
2 to go. We want this procurement to be such that in the  
3 various phases of it, that once it's designed and certified,  
4 that there is a path forward and there is going to be a site  
5 that these are going to be deployed at.

6 So, the bottom line is no, we're not planning on a  
7 prototype phase. We think it can go directly to be deployed  
8 at utility sites.

9 PETROSKI: Is there any new equipment or any of this  
10 transportation, or transfer equipment that's new to this?  
11 This is all existing technology?

12 KOUTS: It's all existing technology. It might be  
13 slightly modified for the sizes involved, but all this is  
14 being done all the time at reactors, and we made a special  
15 point in my presentations with the NRC, we're not doing  
16 anything new here. We expect to have the same types of  
17 operations at utility sites, use the same technology. We  
18 don't anticipate that there's going to be anything really new  
19 about this.

20 KADAK: It's Kadak again. It's a small MPC?

21 KOUTS: Right.

22 DUQUETTE: Chris, thank you for the presentation. I had  
23 a question on the proposals that went out and what the  
24 vendors can come back with. Is it to design, build  
25 specification, or just to build specification? And, I

1 wondered if things like the manufacturing process, the  
2 sealing process, materials of construction, and so on and so  
3 forth, are in the specification, or can the vendors come back  
4 and make some recommendations for better efficiency, better  
5 design, and so on and so forth?

6 KOUTS: Well, the specifications are the specifications,  
7 and they're not negotiable in terms of what we need at the  
8 repository site. For instance, if they came back and said,  
9 well, you know, what if we use something other than borated  
10 stainless? The answer is no, we need borated stainless in  
11 there, and that's driven from postclosure.

12 What we really are relying on is the vendors to  
13 design it, to license it, to have it fabricated with an  
14 industry partner, if you will, and have it deployed. So, at  
15 every step along the way, we're going to have to make sure  
16 that whatever they do is consistent with our specification.  
17 But, to the extent that they're consistent with it, the  
18 design is left up to them, the actual licensing would be left  
19 up to them, and the fabrication, and so forth. Now, we would  
20 have to confirm that if there are any tweaks associated, for  
21 instance, in the fabrication process, if anything that looks  
22 like it's somewhat out of spec, they have to come back to us  
23 to get a "mother, may I" and we would have to approve it.

24 So, to the extent that there are any changes, they  
25 have to be approved by the Department before basically they

1 can proceed. And, that would be the same case in the  
2 licensing arena. If, indeed, through REIs, the NRC asked  
3 questions and they want to change their design, for whatever  
4 reason, they basically have to come back to us to make sure  
5 that we're okay with whatever changes that might occur in the  
6 design during the licensing process. So, the Department is  
7 going to be intimately involved from the review standpoint to  
8 make sure that we're totally consistent with the  
9 specification. And, that's what our fixation will be, is it  
10 consistent with the specification. If it is consistent with  
11 the specification, then it will meet our needs. If it  
12 doesn't, then we're going to have to talk about that.

13 DUQUETTE: Duquette, Board.

14 Obviously, I understand what you're saying. The  
15 specifications can be very tight. They can be relatively  
16 loose. And, I wondered if the competition you will have  
17 among the vendors and fabricators, and so on and so forth,  
18 will involve a consideration of, again, manufacturing  
19 processes, sealing processes, and so on and so forth, or if  
20 it's just going to be who can build it the cheapest?

21 KOUTS: I'll answer your question this way. I think  
22 it's to the government's advantage to have as wide a  
23 competition that we can have for these. In addition to that,  
24 many of these vendors work with segments of the industry. We  
25 want to get as much coverage of the industry as we can. So,

1 we would like competition, and I think the Department would  
2 like to see that. Again, we'll have to see how the proposals  
3 turn out and see what happens at the end of our evaluation.  
4 But, going into it, I think we want to encourage as much  
5 competition as we can.

6 ABKOWITZ: Andy?

7 KADAK: Kadak, Board.

8 Utilities have pretty much decided what  
9 technologies they want for on-site storage. And, some go  
10 NUHOMS, others go NAC, vertical, whatever. I'm trying to  
11 understand the implementation of this relative to TAD. For  
12 example, if I've got, and I'm very comfortable with NUHOMS  
13 horizontal storage systems, will the DOE say well, we are now  
14 going to ask you to store this vertically because that's the  
15 way we need to handle it for transport? Or are you going to  
16 maybe issue awards to every generic type to then conform to  
17 the utilities fuel handling operations?

18 KOUTS: Let me answer your question this way. There is  
19 nothing that would--our requirement is that the canisters  
20 have to be handled in a vertical orientation at Yucca  
21 Mountain, basically, it has to go into a vertical overpack.  
22 There is nothing to preclude it from also being able to go  
23 into a horizontal overpack. So, to the extent that a utility  
24 wants to put this in a horizontal overpack at their site,  
25 that's certainly up to them.

1           KADAK: So, what you're actually--I'm trying to figure  
2 out what it is that you're actually asking the utility to do.  
3 Are you asking the utility to do the packaging of the TADs at  
4 their reactor sites and then be responsible for somehow  
5 storing the canisters in whatever method they choose, until  
6 you decide to come and pick it up; is that right?

7           KOUTS: Let me answer your question this way. Let's  
8 assume the repository is open. We pull up to the site. We  
9 would pull up to a site with a transportation cask and with a  
10 TAD for them to load from their pool. Okay? If prior to the  
11 time that we begin operations, if a utility, on their own  
12 nickel, wants to use TADs at their site, then that's fine.  
13 In other words, for dry storage purposes, if indeed a  
14 utility, based on the incentives that we're going to be  
15 providing them, wants to put, from the date the TADs are  
16 available, wants to put their spent fuel in TADs, we could  
17 also take it from their field. But, at the time of  
18 operations, our expectation is that most utilities will want  
19 us essentially to take fuel from their pool, because if we  
20 take it from their field that has a TAD in it, then, they're  
21 going to have to load another TAD and put it in the field.

22                   So, the bottom line here is that there are two  
23 pathways. One is prior to the time that we begin operations,  
24 and while utilities are doing dry storage, with the  
25 incentives that we provide, we would hope that the utilities

1 will use TADs instead of other storage devices. And, there  
2 are also parts of that amendment that also incentivize them  
3 to do that, to deal with some of the costs involved with  
4 that.

5 KADAK: Now, have you modeled the proposal that you have  
6 in terms of tying up a TAD and perhaps shipment device you  
7 have, and trying to figure out the logistics and the numbers  
8 that you'll need to be able to handle the TAD shipments from  
9 reactors?

10 KOUTS: Yes, we have. And, part of the--certainly our  
11 total system model analyses make the assumption that not only  
12 transportation overpacks, but also TADs, go to reactor sites  
13 for the purposes of loading.

14 KADAK: And, you expect a two week turnaround time,  
15 something like that?

16 KOUTS: What we're going to do is we're going to--we  
17 have a perspective of what turnaround times are, and what we  
18 need to do is get input from industry as to how long this is  
19 going to take. It's not going to be quite the same,  
20 obviously, as loading a bare fuel cask, because a bare fuel  
21 cask, you don't have to worry about the canister, you don't  
22 have to worry about welding, and so forth. So, it's going to  
23 take more time, and we're going to have to deal with that.  
24 So, in terms of the lead times and the amount of  
25 transportation casks that we're going to need, and the lead

1 time that they're going to need on the canisters, that's  
2 something that we're going to have to work out as we move  
3 forward in the future. But, we are sensitive to that and we  
4 do understand the issue.

5 ABKOWITZ: Ali?

6 MOSLEH: Mosleh, Board.

7 This is somewhat related to Dr. Duquette's  
8 question. Do your specs include reliability and quality  
9 requirements?

10 KOUTS: Let me answer your question this way. For the  
11 purposes of our preclosure safety analysis, yes, we have to  
12 address those issues. But, that's built into the  
13 specification itself. And, to try to understand that, you  
14 really would have to see the whole picture of our preclosure  
15 safety analysis and what our rationale is for that in order  
16 to understand what reliability we're building into it. But,  
17 yes, we have addressed that issue in terms of what's in the  
18 specification.

19 MOSLEH: So, based in part on the results or insights  
20 from the safety?

21 KOUTS: Yes.

22 MOSLEH: I see.

23 KOUTS: For instance, one of the requirements which is  
24 received somewhat of an interesting response from the  
25 industry has been the fact that in a 3G earthquake at Yucca



1 Mountain, hypothetically, that these aging overpacks cannot  
2 tip over. And, there's a reason for that. In our preclosure  
3 safety analysis, essentially we provide the rationale as to  
4 why we need them to be vertical and not falling over in a 3G  
5 earthquake that potentially would happen at the site,  
6 although the potential of that happening is very, very, very  
7 low probability event, nonetheless, we're going to ask the  
8 designers to design an aging overpack at Yucca Mountain such  
9 that when the canister is in there, that it would not tip  
10 over. So, that's the simple way I can answer your question.  
11 You really have to understand our rationale for the  
12 preclosure safety analysis in order to understand what  
13 reliability has been built into the specification.

14 ABKOWITZ: Andy, yet again?

15 KADAK: Two quickies. Could you describe some of these  
16 incentives for the utility to buy its own TAD, store it, and  
17 then have it available when you're ready to take it? What  
18 kind of incentive would--

19 KOUTS: It has to do, and I don't want to get into the  
20 details, but it has to do with avoided costs to the  
21 government. In other words, at the time that we would accept  
22 it, what avoided costs the government would incur at that  
23 point in time. And, then, there would be basically a credit  
24 given to the utility for the utilization of that device. In  
25 other words, the Department didn't have to buy that TAD, the

1 utility bought it, so we'd basically have to look at avoided  
2 cost to the government.

3 KADAK: So, you'd pay the utility, or defer some fee  
4 payments, or something.

5 KOUTS: Something like that.

6 KADAK: The 3G thing came up again. 3Gs, now, as I  
7 understand it, it's vertical and horizontal; is that correct?

8 KOUTS: That's correct.

9 KADAK: Now, what happens with 3Gs to a cask vertically?

10 KOUTS: We're talking about an aging overpack.

11 KADAK: Aging overpack. What happens?

12 KOUTS: It's probably not going to go sideways. It will  
13 probably go up and down.

14 KADAK: It will fly? 1G is good, 2G is up, 3G is  
15 flying?

16 KOUTS: No, I understand that. But, the question is how  
17 high it goes, and when it comes down, what happens. The  
18 bottom line is it's a conservative approach. I won't argue  
19 that.

20 KADAK: Where did that number come from?

21 KOUTS: Again, to fully understand the rationale for it,  
22 you'd have to see our preclosure safety analysis, and that  
23 will come out later on.

24 KADAK: That gets back to my seismic question, I guess.  
25 The standard for normal reactor storage systems is what

1 typically in terms of equivalent G levels, even at Diablo  
2 Canyon?

3 KOUTS: They're much lower. But, again, we look at--I  
4 think you have to go through and understand the rationale for  
5 our preclosure safety analysis, what our Category 1 or  
6 Category 2 events are, what we can postulate on site. And,  
7 all I can tell you, Dr. Kadak, is that we've taken a  
8 conservative approach to this, and we built that into the  
9 specification. And, again, we can't get into the details  
10 until the preclosure safety analysis is made public, which  
11 will be about the time that we submit the license  
12 application.

13 KADAK: The reason I'm asking this kind of question is  
14 you're going to be doing this total cost estimate again, and  
15 all these things drive costs really, really high, and I'm  
16 just wondering if anybody is trying to balance the need for  
17 having very, very conservative standards versus the safety  
18 and the cost. And, it doesn't sound like people are doing  
19 that at DOE.

20 KOUTS: Well, we're trying to get something that works,  
21 and what we feel we can demonstrate in a licensing  
22 environment will be successful. I always leave open the  
23 opportunity in the future as we learn more, that perhaps we  
24 can go to a more efficient TAD. There will be a different  
25 generation, and I've said this many times, going to a higher

1 capacity would certainly be a substantial reduction in  
2 overall system cost, because essentially, you know, the  
3 reactors are going to have to do roughly 50 percent more  
4 loadings because we've got a reduced capacity. So, it's to  
5 our advantage to look at those issues. I think where the  
6 program is right now is we're trying to get something that  
7 works. Yes, it may be very conservative. And, if we can  
8 take away some of those conservatisms in the future and go to  
9 a more efficient system, we will do that. But, the first  
10 thing we need to do is to get the facility licensed, to get  
11 the system operational. At that point in time, we can look  
12 at how to make it more efficient and to optimize it more.

13 ABKOWITZ: Let me wrap up with a couple of questions.

14 I want to get a little more clarity on this issue  
15 of the motivation for utilities to use TADs before our  
16 repository would be operational. My understanding is that  
17 there is a fairly large difference in the capacity of a  
18 storage container in terms of a TAD design versus some of the  
19 DPCs that are available today. So, from an economic  
20 standpoint, the utility would be much better suited to put  
21 more into a single container. So, is that part of the  
22 incentivizing that you're discussing with the industry in  
23 terms of what DOE would do to make it a break even argument  
24 so that the utilities would, you know, elect to use TADs as  
25 opposed to some other storage device?

1           KOUTS: Okay. Well, there's one other factor that we  
2 haven't talked about, and that's that absent a contract  
3 modification, the Department is under no obligation to accept  
4 any of the devices that currently exist out there. So, the  
5 incentive, I think, that if those devices that do exist out  
6 there that are transportable, if the Department is to accept  
7 them, then what the Department wants in return is okay, we'll  
8 accept those, but we also want an agreement that you will use  
9 TADs from the day that they're available until we begin  
10 operations. So, I think there's a powerful incentive there,  
11 because again, absent that contract modification, the  
12 Department is under no obligation whatsoever to accept them.

13           ABKOWITZ: So, you're basically using the legal argument  
14 over the economic argument for that position?

15           KOUTS: No, I think we're using both. I think that  
16 we're also sensitive to the fact of the potential increased  
17 cost of these to the utilities, and we want to look at  
18 avoided cost to the government and make sure that that's  
19 addressed appropriately with the utilities.

20           So, I think one incentive is we'll take your other  
21 cans. The other one is we'll provide also an avoided cost,  
22 and I think that's a very reasonable approach. And, I will  
23 say it's not just a legal argument, it's--well, it is a legal  
24 argument. I testified in court on this issue, and the courts  
25 have sustained the Department. At the time that the standard

1 contract was written, these devices did not exist.  
2 Therefore, according to one judge's opinion, therefore they  
3 could not have been covered by the contract, therefore,  
4 they're not covered by the contract. So, the Department is  
5 under no obligation to accept them at this time, absent a  
6 contract modification.

7 ABKOWITZ: Okay, let me move on to my last question. I  
8 have asked you in the past and you had indicated to me that  
9 the TAD, success of a TAD initiative rests on having rail  
10 available to Yucca Mountain. And, I've always thought that  
11 was kind of the Achilles heel in this whole business. Can  
12 you comment on any additional thought that's gone into what  
13 will happen to this whole plan if rail is either  
14 significantly delayed in its availability to bring TADs to  
15 Yucca Mountain, or the possibility that it's never  
16 constructed at all?

17 KOUTS: Well, there are facilities out there that will  
18 be unable to utilize TADs. They simply don't have the  
19 ability at their sites in order to load them and seal them,  
20 et cetera. They don't have the crane capacity. They don't  
21 have the pool size. And, we are going to have a facility at  
22 the repository, the wet handling facility, that will be able  
23 to take truck casks, if you will. I mean, our baseline plan  
24 is that we will have rail availability. And, we're not  
25 designing a TAD to be basically hauled. It's a rail

1 dominated system, and there's just no way around that.

2           If, indeed, it never happens, then we'll have to go  
3 back and think about that. But, we will have a facility on  
4 site that will be able to take truck casks. There will  
5 certainly be a lot more truck casks than rail shipments.  
6 But, ultimately, I do think we'll have rail. The question of  
7 its availability, you know, that's something that the future  
8 will divine for us.

9           ABKOWITZ: Will your license application and your  
10 preclosure safety analysis look at the contingency planning  
11 required if rail is not available or not available in a  
12 timely fashion? Because it would seem to me that would have  
13 tremendous implications on handling and the risks associated  
14 with that.

15           KOUTS: My sense is our EIS will look at that option, if  
16 you will. But, the license application that we're making to  
17 the NRC will be based on a, you know, primarily based rail  
18 system.

19           ABKOWITZ: Okay, thank you.

20           At this point, we are on schedule, Mr. Chairman,  
21 and we will take a 15 minute break, and we'll reconvene at 10  
22 o'clock. Thank you, Chris.

23           (Whereupon, a brief recess was taken.)

24           GARRICK: There's an item of business I want to take up  
25 that we missed this morning because we didn't get the

1 question in time. A question was raised by Judy Treichel  
2 having to do with record of decision, and I want to pass that  
3 question on to Ward Sproat, because it was as a result of his  
4 presentation that the question came up.

5 So, Ward, would you deal with it?

6 SPROAT: The question, as I understand it, was for the  
7 Supplemental Environmental Impact Statements that I talked  
8 about, will there be a formal DOE record of decision.

9 On the SEIS for the repository itself, there will  
10 not be a DOE record of decision. All we do is we finalize  
11 that Environmental Impact Statement, and give it to the NRC,  
12 and they do their review of it, and they make their decision  
13 whether to adopt it or not for the repository licensing. So,  
14 there will not be a DOE record of decision on the repository  
15 SEIS.

16 For the SEIS on the Nevada Rail, we already have  
17 record of decision of saying that the primary route of  
18 transportation is rail. There will be a record of decision  
19 as a result of this SEIS on the final rail alignment for  
20 Nevada Rail. So, there will be a DOE record of decision for  
21 that SEIS, but not for the repository.

22 GARRICK: All right, thank you.

23 Okay, Mark, let's proceed with the discussion.

24 ABKOWITZ: Okay, thank you, John.

25 We're going to go to Part 2 of the TAD update, and



1 at this time, we're going to be hearing the industry  
2 perspective. We'll actually be hearing from two different  
3 individuals, Rod McCullum, who is the Director of the Yucca  
4 Mountain Project with the Nuclear Energy Institute, and then  
5 he will be followed by David Blee, who is the Executive  
6 Director of the U.S. Transport Council. And, what I'd like  
7 to do is--well, let me ask you, Rod, would you prefer that we  
8 have questions in between each presentation, or wait until  
9 the end of both of them?

10 MC CULLUM: Actually, it's one presentation. We're  
11 going to do a tag team. I'm going to start out here, David  
12 is going to come up and then we're going to be together for  
13 questions at the close.

14 ABKOWITZ: Okay, very good. Thank you.

15 MC CULLUM: Thank you, and I want to thank the Board for  
16 giving me the opportunity, and David the opportunity, to  
17 share industry perspectives on this important initiative.  
18 It's been 16 months since David and I last came and spoke to  
19 you about the TADs. At that time, I think we, as well as  
20 DOE, were talking about a rather ambitious set of things that  
21 had to happen in front of us. And, as I think Chris Kouts  
22 spoke earlier, many of those things have happened, and they  
23 have happened on a very positive schedule.

24 I also appreciate what Dr. Garrick said at the  
25 beginning of the meeting today about the desire of the Board

1 to look into the integration of the project with other  
2 industrial entities. From our perspective, I think summing  
3 up industry's perspective in a nutshell, the value of the TAD  
4 is in the integration of the overall waste management system.

5 We expected it to be, and have seen through what  
6 has happened so far to be a very effective integration tool  
7 in terms of integrating the overall used fuel management  
8 system. So, if we can go to the first slide?

9 It's always important when you get an industry  
10 perspective that we have at least a couple words about why  
11 we're doing this. Nuclear energy is very important to this  
12 country's prosperity, to this country's future. We have 104  
13 commercial nuclear plants. The last time I spoke to you it  
14 was 103. The restart of Brown's Ferry, so that is a growing  
15 number, and I also know there are plans to begin resuming  
16 construction of Watts Bar 2. So, that would go to 105, and,  
17 of course, there's a number of new plant projects in the  
18 early stages of the licensing process is there.

19 The existing plants, most of them are getting life  
20 extensions, so they're going to be around a while. We have  
21 maintained our 20 percent share of U.S. electricity  
22 generation, even as electricity demand has been growing.  
23 We're certainly cost competitive on existing generation, and  
24 we think the numbers are still yet to come in on the new  
25 plants. We think we'll be cost competitive on new plant

1 generation, particularly if you figure in the real costs of  
2 such things as carbon sequestration technologies that would  
3 be necessary for some other energy sources.

4           And, of course, one of the key advantages, we are  
5 the clean air energy, we produce a lot of electricity with a  
6 very small amount of material when you look at what you get  
7 out of a single uranium pellet that I could hold in my hand  
8 here versus the amount of natural gas, coal or oil. And, as  
9 we're here in a city where the lights burn brighter than  
10 anywhere else in the world, where the air conditioners work  
11 as hard, if not harder, than anywhere else in the world, the  
12 opportunity to get a lot of electricity out of a small amount  
13 of material without polluting the air certainly should be a  
14 topic of great interest.

15           So, going to the next slide, that small amount of  
16 material, and actually, this slide answers your question,  
17 Andy. These are the numbers. We have approximately 56,000  
18 metric tons of spent nuclear fuel out there currently. This  
19 is pretty close to the number Chris gave, 9,600 metric tons  
20 in 877 casks at 39 sites. By 2017, the earliest date the  
21 repository might open, we anticipate having 22,000 of the  
22 76,000 metric ton total in dry casks. Now, hopefully, some  
23 of those will already be TADs at that point as they're  
24 deployed.

25           I want to focus on this number for just a little

1 bit, and I think it's important to note here the difference  
2 between those two numbers, 22,000 and 76,000, about 54,000  
3 metric tons, remember, right now the repository is  
4 authorized, as Ward Sproat said earlier, would be committed,  
5 fully committed for the 70,000 tons in 2010. They have  
6 allotted in at least their initial EIS, and I don't know that  
7 this would change in the updated EIS, 63,000 metric tons for  
8 commercial used nuclear fuel.

9           And, if you look at, you know, what DOE has said  
10 publicly about wanting to get 90 percent of the fuel in TADs,  
11 well, that's about 56,000 metric tons of the 63, and you see  
12 54,000 metric tons there that hasn't already been committed  
13 to dry casks, and, again, some of those dry casks by that  
14 time may already, or should already, be TADs. So, there  
15 clearly will be plenty of fuel available to put into TADs to  
16 meet DOE's initial design assumptions.

17           Changing those assumptions, going to the second  
18 repository report we heard about this morning, you would have  
19 to visit the Yucca capacity as one of the options.  
20 Certainly, we believe Yucca can hold a lot more than 70,000  
21 metric tons, there's the EIS number. We have the EPRI work  
22 that I believe you've been briefed on in the past, which  
23 indicates that Yucca Mountain could hold upwards of 500,000  
24 metric tons. So, certainly there's plenty of opportunity to  
25 successfully deploy the TADs to help manage this inventory

1 more effectively, which is really what it's all about. And,  
2 that brings me to the next slide.

3           The industry has actively engaged with DOE because  
4 we support this initiative. I told you 16 months ago we  
5 supported the initiative. That has not changed. And, I  
6 think our actions speak as loud as any words I told you then,  
7 or could tell you now, the work that has gone, the commitment  
8 industry has put into this. The reasons are the same things  
9 that Chris talked about. You know, we certainly see an  
10 advantage in simplifying the repository, both in terms of its  
11 cost and its licensability. It reduces disposal and waste  
12 acceptance uncertainty. I mean, you're not talking about  
13 loading a cask that DOE says, in court anyway, that it won't  
14 accept a cask of uncertain destination. You're loading a  
15 cask that says right on the side of it, you know, ship to  
16 Yucca Mountain. All postage paid, care of Chris Kouts, you  
17 know, and that has--that's the same joke I told 16 months  
18 ago. I'm glad to see it's still funny to some. But, it is  
19 true. There is absolutely a value to that, to reducing  
20 disposal uncertainty.

21           Now, how that plays into the economics, that's up  
22 for each utility to decide. But, the stakeholders, we  
23 believe, will see that. If you are looking at building an  
24 essvicy (phonetic) and talking to your communities, if you  
25 are looking at an interim storage site somewhere and talking

1 to those communities, the notion that that Yucca Mountain  
2 stamp was on the side of the canister as opposed to this  
3 uncertainty out there we think is important to be able to  
4 tell those communities that these things do have a more  
5 certain destination.

6           And, as I said, it really is, the TAD program and  
7 the exercise we've gone through over the last 16 months has  
8 been a tremendous learning experience and a tremendous  
9 integration exercise. We've brought industry and DOE  
10 together. We've taken disposal parameters, we've taken  
11 storage parameters, we've taken transportation parameters,  
12 we've brought these things together and we've talked about,  
13 and substantively done things to make the system work  
14 together, and it hadn't been considered before. And, that  
15 has been tremendously valuable.

16           The next slide, getting into what we mean about  
17 integrated used fuel management. These are the various  
18 elements that if you're doing all of these things, you truly  
19 would have an integrated system. Obviously, we store them in  
20 the pools now, and we store them in dry storage facilities.  
21 The TADs will do that. TADs will be transportable.

22           Now, I alluded to centralized off-site storage,  
23 that might be something--that's certainly something industry  
24 is interested in, that might be something that's in the cards  
25 as we work towards Yucca Mountain and the recycling

1 facilities that might also be proposed. The TAD has value  
2 there. Again, for the stakeholders at those places, for the  
3 DOE acceptance certainty, and for the licensor, you know,  
4 you've got a standardized canister now. And, that canister  
5 will make the design of whatever interim storage facility a  
6 lot more straightforward. You're not looking at a hodge  
7 podge of systems out there that were designed for criteria  
8 that made sense at individual sites. You're looking at a  
9 standardized system, standardized for the repository, and  
10 it's also standardized for interim storage.

11           And, while I'm not going to try to tell you that  
12 we're hoping that we would ship TADs to recycling facilities  
13 just to cut them open, there certainly is benefit towards if  
14 we do start sending some used fuel to recycling facilities,  
15 to the lessons and to the standardization and the process of  
16 integration, the process benefits of what we've gone through  
17 to get to the TADs. The process infrastructure that's now in  
18 place, and if a recycling facility were a research facility  
19 and it was uncertain how that research was going to progress,  
20 if fuel arrived in a TAD, if it went into a reprocessing  
21 stream or a research project, great. If it didn't, it could  
22 go on to Yucca Mountain. That also would provide some  
23 additional assurance there, and, of course, final disposal.

24           So, we see the TAD as having a role, granted,  
25 variable amounts of value in each instance, but having a role

1 in all elements of integrating the used fuel management  
2 system.

3           Going to the next slide, what we have accomplished?

4     And, I really do believe that the accomplishments have been  
5 substantial here. We resolved a number of technical issues.  
6 I think Chris Kouts had his Slide Number 6 where he listed  
7 some of the basic parameters and the lengths and the  
8 materials and the various things of the TAD. Those weren't  
9 the things we started with when we had our first meeting. We  
10 had to go through an iterative process. Industry raised  
11 these issues. DOE raised its reasons why it needed certain  
12 things for disposal, and we got to the end of that process  
13 and have an integrated container.

14           The TAD specification was completed. And, for  
15 those of you who might be skeptics about what Ward said this  
16 morning about this era of delivery that we are in, DOE has  
17 indeed been delivering on the TADs pretty consistently. I  
18 mean, the schedule that was set out for the TADs, it's been  
19 within weeks of the schedule that the TADs followed, and it's  
20 been a quality product. The TAD specification has been  
21 acceptable enough to industry that vendors are able to submit  
22 the proof of concept designs, and that the procurement  
23 process is now moving forward based upon that specification.

24           So, it is certainly, for those who have doubted the  
25 program in the past, certainly tangible evidence that the



1 project can produce quality results on schedule.

2 Another often overlooked thing that has occurred,  
3 and I do consider it a significant accomplishment in this  
4 process, is that the NRC review of the TAD specification has  
5 been completed. NRC commented on the TAD specification. DOE  
6 responded to those comments. The response to those comments  
7 from DOE as well as from the vendor communities echoing this  
8 is that those are issues that will be addressed in the  
9 respective license applications. But, there's a tremendous  
10 amount of value to getting those issues on the table ahead of  
11 those applications so that we can address them.

12 A lot of folks, there's this kind of conventional  
13 wisdom out there that the Yucca Mountain licensing process is  
14 going to take a long, long time. It's first of a kind. It's  
15 contentious. However, it has something else that's  
16 unprecedented in its nature, too, that goes to its advantage.  
17 It has a more extensive body of prelicensing work between DOE  
18 and NRC and now industry that didn't exist at any other  
19 licensing process. And, so, we would hope in this case, as  
20 well as other cases, that the project would be able to build  
21 on what's been done in the prelicensing phase to have a  
22 successful licensing process.

23 Going on to the next slide, this is basically  
24 Chris's slides 1 through 5 condensed down to one slide. I  
25 think the value of having them, so I won't read through all

1 the things that have been accomplished. But, I think it is  
2 important. I think that the value of seeing it all together  
3 is you do see that a lot of work was done in the last 16  
4 months.

5 I will point out that we had our first significant  
6 meeting on January 31, 2006, which was the eighth anniversary  
7 of the date DOE was supposed to be, just by coincidence, the  
8 eighth anniversary of the date DOE was supposed to begin  
9 picking up our fuel. So, I will point out and remind Chris  
10 that we've got our tenth coming up soon. So, I hope we can  
11 do something really special for that one.

12 Also, a couple other milestones here that are on  
13 the plate. The vendors are expected in the procurement that  
14 Chris spoke about to have licenses by 2010, and to complete a  
15 demonstration of the first of the TADs in accordance with  
16 those licenses by 2012. In order for that to happen, the  
17 ball is in DOE's court. I mean, within weeks to next month,  
18 one of the things we need to see delivery on is DOE to move  
19 forward on these procurements that it is, as Chris said, is  
20 evaluating. But, we hope that the record of progress will  
21 continue so that the vendors will have--those are tight  
22 timelines--so that we will have time to meet that schedule.  
23 And, if you're starting to deploy TADs in 2012, you can go  
24 back to the earlier slide and look at what we've got in 2017,  
25 all the fuel still in pools. It really meshes well with

1 DOE's design assumptions.

2           And, I think a key point is that industry, DOE and  
3 NRC all agree on the licensing path forward. We've got  
4 cross-cutting issues between Part 71 and Part 72, Part 50 and  
5 Part 63. We've got to continue to manage those, but we all  
6 agree that those processes have to proceed in parallel.  
7 There's some licensing risks there, but we all have agreed on  
8 our path forward that gets us out of what could have been a  
9 chicken and egg situation, where you've got to be licensed in  
10 63 before you can go to 72. You've got to be licensed in 72  
11 before you can go to 63. So, we're all in agreement that  
12 those processes will proceed in parallel.

13           Of course, as I mentioned, if you could go to the  
14 next slide, a substantial amount of work needs to be done. I  
15 can't stress quickly enough that DOE does need to move  
16 quickly with the balls that are in its court right now. We  
17 haven't had this problem yet, and we don't want to have the  
18 problem where the clock gets eaten up by what needs to happen  
19 on the federal side. The vendors need to be able to do the  
20 high quality work and have the time to do that, and, you  
21 know, they have a lot of things that they do, a lot of  
22 existing contracts they're working on.

23           Financial incentives have to be out there to  
24 address the TAD and the marketplace priorities. That's  
25 something we've heard the Board question. That's one of

1 those balls that's in DOE's court. It was encouraging I  
2 think to hear Ward talk about the type of things being  
3 negotiated. That needs to be closed out in a way that makes  
4 economic sense for the utilities. Therefore, they can commit  
5 to buying TADs. The applications need to move forward, the  
6 loading and deployment.

7 Further system integration needs to occur. The  
8 first generation of TADs, the next generation of TADs may be  
9 a different kind of standardized container for a recycling  
10 facility. Who knows? But, the TAD designs do need to  
11 continue to evolve.

12 So, if we can go to the next slide? This is what I  
13 alluded towards, the parallel licensing processes. You see  
14 the DOE process, the wild card and the EPA standard of course  
15 down there. And, although we certainly agree that the  
16 project should proceed forward as that standard is being  
17 issued. You know, our EPRI science would again tell us that  
18 there should be plenty of margin beneath what the existing  
19 proposed standard is, however it comes out, that they should  
20 be able to do that.

21 You notice a lot of dotted lines here? Every time  
22 I show this graph, I was always asked to add more of those  
23 that need to coordinate, so that when a TAD is loaded under  
24 NRC regulations, it can be transported under NRC regulations,  
25 and it can be disposed of under NRC regulations. If you have

1 any mis-matches throughout this process, there's a problem  
2 with the regulation. There's a problem with the regulatory  
3 structure if something gets loaded under Part 50 and stored  
4 under Part 71, 72, transported, it can't be disposed of. So,  
5 we need to continue to communicate to make sure that once  
6 under NRC regulations, always under NRC regulations.

7           You will also notice that there's an annoyingly  
8 large amount of stars in there for the applications for TADs.  
9 The reason for that is, and this came up when Chris was being  
10 questioned, it is vitally important to industry that we have  
11 a competitive marketplace for TADs. When you look at the 877  
12 casks we have loaded, we've done that successfully, we've  
13 done that safely, we've done that cost effectively. That's a  
14 pretty perfect--it is a perfect record over a lot of  
15 operations, a lot of fuel handling, a lot of loading  
16 operations, and I think a lot of basis for why we have such a  
17 good, at least that part of the system that's in place, is  
18 because we have a competitive marketplace where utilities can  
19 choose from amongst multiple vendors to meet their needs.  
20 They can find the vendors that best meet their individual  
21 needs. So, that's been one of the great successes of the  
22 TADs. DOE has kept that alive throughout the process, and it  
23 is vitally important that we continue to have choices of TAD  
24 vendors throughout.

25           Going on to the next slide, who will do what? You

1 see again, as I mentioned, there's a lot of balls in DOE's  
2 court. I don't think there's anything on there that we  
3 haven't spoken of already, and DOE has demonstrated to us  
4 that they're making good on their commitment so far. A  
5 couple big ones remain.

6 Vendors have, you know, it looks like a few things  
7 there, but those are biggies. The utilities, of course, have  
8 to buy the TADs and load them and store them on site.

9 NRC has the important role of regulating  
10 consistently all the way through the process. So, that, you  
11 know, a lot of integration has gone into that. We all know  
12 what we're doing on this, and I think that's a good thing.

13 Moving to the next slide, I'm going to talk about  
14 some of the specific utility perspectives, and then David  
15 Blee is going to come up here and talk about some of the  
16 vendor perspectives. Then, we'll get together at the  
17 conclusion. We have a lot of overlap between our membership,  
18 a lot of NEI members are USTC members, and vice versa. But,  
19 I tend to speak more from the utility side, and David will  
20 speak more from the vendor side.

21 TADs must be compatible with existing systems. I  
22 think with the specification, we don't have any problems  
23 there yet. TADs will require more storage space. There's  
24 going to be more of them. So, the pads have to be bigger.  
25 That is a problem at some sites. A few sites may be real

1 estate limited. Of course, it's less of a problem if DOE  
2 starts picking up fuel in the near term. So, the sooner you  
3 show up, the less we're concerned about that. But, that  
4 could get to become a problem as we deploy TADs somewhere.

5           Must recognize that procurement decisions are made  
6 five years in advance. And, some of the strategic planning  
7 windows are longer than that. I think with especially the  
8 utility entities, as they're defined in procurement space,  
9 participating in the procurement now, I think obviously the  
10 long-range business planning discussions have at least begun  
11 and some of the negotiations in place. So, some of that is  
12 encouraging. But, you know, you can't just switch over to  
13 TADs like that. There needs to be advanced planning, because  
14 what you're talking about here is assuring that you have  
15 sufficient space in your pool for four TADs and continuing to  
16 support your refueling outages, and you need to know well in  
17 advance that you have that so the TADs need to be there in  
18 advance. There needs to be certainty.

19           Proven design and manufacturing capabilities.  
20 Again, keeping all the vendors in the business there is key  
21 to making sure we have sufficient capability. Radiation  
22 exposures must be maintained ALARA. We have a very good  
23 track record there. We intend to maintain that record, and  
24 that's even more important with TADs, because we'll be  
25 loading more of them. And, we had a lot of discussions in

1 that regard when we were agreeing on the final spec.

2           Cost to utilities must be comparable with existing  
3 systems, must make a good business decision. There was some  
4 discussion about whether it was a legal thing or an economic  
5 thing. Certainly, there is economic value to having DOE  
6 agreement for acceptance. And, I will not get in between  
7 utilities in their negotiations with DOE. Everybody is  
8 different. There's some agreements in place. There's some  
9 frameworks. People know what they're getting on their  
10 agreements. What would they get with TADs? However you play  
11 those cards, the fuels manager at the utility site needs to  
12 go to his boss and be able to explain the business case, as  
13 to why the TAD is a sound business decision. And, it can't  
14 be just because you feel good about loading one, as much as I  
15 feel good about them being loaded. But, there does need to  
16 be a business case for these. And, again, the TAD designs  
17 need to evolve.

18           So, with that, David will share some of the  
19 specific vendor perspectives, and then I'll have one point to  
20 make at the end.

21           BLEE: Thank you, Rod.

22           As Rod noted, we have been working together for the  
23 past 16 months, our two organizations, since the DOE  
24 announced it was moving forward with the TAD. I think that  
25 has been very productive, and we're pleased that you are



1 continuing to focus on this important initiative. We welcome  
2 the transparency in the process. We believe that progress is  
3 being made, and I think it's worth looking at why we have  
4 been making progress collectively with respect to the various  
5 parties that are involved, the DOE and the utilities and the  
6 so-called technology companies, as well as the NRC.

7 I think what it comes down to is, one, this program  
8 is predicated on maximum reliance on the private sector.  
9 These aren't my viewgraphs, by the way. These are just a few  
10 thoughts here. Maximum reliance on the private sector. DOE  
11 is not attempting to be a market maker, as it was with the  
12 ill-fated MPC program about ten years ago.

13 Transparency. This has been a transparent program  
14 from the beginning in terms of the conceptual design,  
15 specifications, and as the iterative processes have gone  
16 forward.

17 Three is it is encourage customer focus. And, I  
18 think that's very important. It's the first time we really  
19 have been able to integrate utilities into the process.  
20 There have been on the surface some utility interaction, but  
21 this has forced it because really, this is the intersection  
22 of a lot of things, the intersection of fuel acceptance,  
23 transportation, public confidence, the standard contract,  
24 disposition, the surface facility. This is a key integrator  
25 and a very, very important initiative.

1           And, I think fourth is a sense of urgency. We've  
2 really seen a sense of urgency from the DOE. I think that  
3 speaks well to Ward and Chris and their organizations, and I  
4 think that we have seen--and, it is tied, of course, to the  
5 license application, too, so that all lends itself to  
6 urgency. But, I think it's been a good catalyst, a good  
7 example of how we can work together in other areas in terms  
8 of the basic tenets of transparency, customer focus, sense of  
9 urgency and transparency throughout the process.

10           In any event, with respect to specific so-called  
11 vendor TAD perspectives, the USTC represents companies that,  
12 what I call technology companies, but most people call  
13 vendors, who actually design and license the casks, and  
14 manufacturers that actually will fabricate the casks under  
15 contract to the utilities. And, we believe that, as I said,  
16 this is headed in the right direction.

17           Going to the first point here, DOE has been  
18 responsive to suggested changes. The initial conceptual  
19 design had nickel gadolinium, uncoated carbon steel, and had  
20 a length that just--had key components there that would not  
21 have been feasible, didn't turn out to be feasible, and the  
22 DOE adapted to the suggestions, and I think we've got a good  
23 product to show for it.

24           There's a large amount of work that must be done in  
25 a short period of time. In particular, as we go forward,

1 there needs to be a focus on NRC resources. The NRC at the  
2 same time as they're considering the TAD will be also  
3 considering dry storage applications, the other things they  
4 do in the spent fuel storage office.

5 I think Bill Brock of the NRC has both the proven  
6 experience and a long track record in this area, but he isn't  
7 the master of his budget and the resources he has, and I  
8 think we need to make sure, certainly on the Part 63 side of  
9 things, and they've moved to integrate those, but we need to  
10 make sure that the NRC has resources to consider these  
11 designs if we are going to make the 2012 deadline.

12 With respect to--you do have a new player in this  
13 as opposed to what has been done in the private sector  
14 before, in the sense that DOE is the contractor, the  
15 customer, and there will be a dual focus. In terms of the  
16 licensing, development of this project, DOE obviously will  
17 be, at least at the beginning of this process, their  
18 turnaround times will be something--they will have to have  
19 very expeditious turnaround times in terms of their review of  
20 the license applications and preliminary milestones as we go  
21 forward.

22 Lead times must be recognized. I think we told  
23 Chris initially that we thought this would take five years  
24 from beginning of the design process to licensing and actual  
25 deployment. And, I think in this case, they followed suit in

1 the sense that they're moving forward and 2012 is the first  
2 delivery, so I think that's reasonable and we've got to keep  
3 our eye on that one.

4 With respect to material suppliers, there is  
5 concern just generally through the market in terms of some of  
6 the materials, and this isn't just necessarily specific to  
7 the TAD in terms of stainless steel and other materials, in  
8 terms of neutron absorber material that will--large  
9 quantities of this will be needed. They will be needed in  
10 any event for the dry storage. So, that's a growing concern,  
11 not necessarily restricted just to the TAD.

12 Lessons learned have been valuable. Again, we're  
13 pleased that there is a focus on a demonstration. Chris  
14 didn't actually--you had talked earlier about a prototype.  
15 It's not really a prototype. But, what is called for in the  
16 RP is delivery of four TAD systems--well, if they pick four  
17 contractors, each contractor is required to deliver one TAD  
18 system to a utility partner that they're working with. And,  
19 we think while this is not a prototype, it effectively is a  
20 demonstration project that's something we think is very, very  
21 important and it is date specific. That doesn't mean that it  
22 will be limited to one, but certainly that is what is called  
23 for in the RP, and we think a demonstration process is  
24 important, and we're delighted that DOE adopted that in their  
25 RFP.

1           Additional seismic requirements. Dr. Kadak  
2 mentioned the seismic criteria, the 3Gs. That is a new  
3 wrinkle that wasn't in the proof of concept that came out in  
4 the final spec. That is an issue that we're assessing, and I  
5 don't have an answer for you today, Andy, on that, but that  
6 is something that will be a challenge certainly, and that is  
7 something that's being assessed and we will stay in touch  
8 with you on that.

9           KADAK: You might talk about other constraints relative  
10 to the seismic, like tie downs not permitted, all that other  
11 stuff.

12           BLEE: Let's see, that's beyond my portfolio. But,  
13 again, in terms of--it was just this third requirement.  
14 There are several requirements in there. But, it's the third  
15 requirement that was put in there in terms of this 3G, and  
16 the first two actually we were anticipating. It's the third  
17 one came up at the very end. It was included in the final  
18 spec, and we're going to live with it. It is a challenge,  
19 and I think it can be addressed and we're working to see how  
20 we're going to address that.

21           So, the bottom line is we believe the TAD design is  
22 achievable. We are hoping that DOE will meet its schedule.  
23 In the RFP, it said that the decision--awards will be made  
24 within 30 to 45 days after receipt of the RFPs. The RFPs  
25 were submitted on August 24<sup>th</sup>. That would be roughly

1 September 24<sup>th</sup> for the--or October 8, sometime between  
2 September 24<sup>th</sup> and October 8<sup>th</sup> in terms of the award, and any  
3 slippage in that schedule would obviously, for a day's  
4 slippage, potentially, in meeting the very aggressive  
5 schedule called for in terms of getting these designs into  
6 the NRC and docketed within a year.

7           In terms of the TAD overall, from the vendor  
8 perspective, this is simply another iteration of a design  
9 that is--some of these vendors have done two dozen iterations  
10 of their dry storage design. In this case, it has certain  
11 requirements which make it disposable, but it is using some  
12 tangible components that have been used before in other  
13 systems. So, it's an aggressive schedule. What we don't  
14 want to see is on the front part of it, any slippage. We  
15 don't have any indication that there will be slippage in that  
16 award, but I notice that Chris didn't say anything  
17 affirmatively about that, but maybe because it's procurement  
18 sensitive, but we do hope that 30 to 45 day projection will  
19 be met.

20           Next slide? Again, with respect to the  
21 transportability, we think the physical dimensions are very  
22 similar to existing dual purpose canister dimensions. The  
23 transportation cask designs will be similar. Minimal burnup  
24 credit will be necessary for transportation due to reduced  
25 capacity.

1           With respect to--we don't think this will result in  
2 increased shipments. We think DOE had a very modest case in  
3 terms of the number of casks in their rail car load. We  
4 think that simply by increasing the cask shipments by one or  
5 two, that you can maintain the same amount of shipments,  
6 total shipments to the program.

7           You did have a question on the truck transport.  
8 There is no truckable TAD design. That is something that is  
9 consistent with the mostly rail scenario. I don't think this  
10 would preclude the development of a truck TAD design if it  
11 was deemed feasible. But, it's something like that will have  
12 to be addressed later on.

13           In closing, I would say the TAD is an important  
14 initiative. We welcome your focus on this, and that it has  
15 potential to contribute to simplifying integrating the fuel  
16 cycle management, increasing stakeholder confidence, and I  
17 think tangible progress has been made. I believe that we're  
18 on track towards a 2012 delivery if these initial steps in  
19 the next few months can be made and taken by the DOE.

20           And, Rod, you're going to cover the last graph?

21           MC CULLUM: Yes, if you can just move to the last slide?  
22 I'd like to leave everyone with this image, just to get us  
23 back to the subject of the real value of the TADs is in the  
24 systems integration. Those of us who live and work in the  
25 Washington, D.C. metropolitan area know it's a city that's

1 very dependent on its bridges, and we quite often get in our  
2 cars and park on the beltway and wait patiently for  
3 opportunities to cross these bridges sometimes. But, you  
4 know, there are many bridges that make the city work, and  
5 we're, in fact, replacing one of the key bridges, the Wilson  
6 Bridge, with a new bridge these days.

7           The important thing to note here is I really do  
8 believe that TADs are important. They're the pillars of the  
9 first bridge that will be built to cross this gap that now  
10 exists, the status quo where we are pretty much simply  
11 storing material to the true world of integrate used fuel  
12 management, where we're doing all those things that I talked  
13 about in that one earlier graph. So, this is the first  
14 bridge. It's probably a little two-lane crossing. Then, you  
15 know, perhaps it leads to more substantial freeway bridges,  
16 and then futuristic modes of transport.

17           But, it is very important that we make that first  
18 crossing of that gap and get to the world of integrated used  
19 fuel management, and we have made in the last 16 months, more  
20 progress in that direction than has ever been made before.  
21 And, I'm looking to DOE hitting those balls that are still in  
22 their court out of the park so we can continue to do that.

23           Thank you.

24           ABKOWITZ: Thank you, Rod and David. I'm going to ask  
25 the first question. If we could go back to Slide 11, I want



1 to pick up on a question that I asked Chris. The next to the  
2 last bullet here, the cost to utilities must be comparable  
3 with existing systems, I sense this disconnect right now  
4 where the utilities are basically saying, you know, we've run  
5 this as a sound business, if it's going to cost us a lot more  
6 to use TADs for on-site storage when we could have put the  
7 waste in DPCs, then the business case suggests that we need  
8 to be economically incentivized to use TADs rather than what  
9 we would use in its place.

10 From what I hear from DOE, that doesn't seem to be  
11 an active discussion or negotiation item right now because of  
12 the feeling that there's a legal basis for utilities  
13 basically accepting that they should be using TADs, because  
14 otherwise, there is really no place for dealing with taking  
15 title of the waste that's currently in DPCs. Do you want to  
16 comment on whether I understand the situation properly, and  
17 what is happening to try to resolve those differences?

18 MC CULLUM: Yes, I'm glad you asked that question. I  
19 certainly appreciate Chris's position. I certainly  
20 understand that DOE is not going to public on the record  
21 compromise its negotiating position. But, I think I would  
22 offer you a one pretty substantial piece of evidence that  
23 these negotiations are real and that they are ongoing. I  
24 mean, Ward Sproat talked about them being ongoing. We know  
25 that DOE has received bids in response from the vendor teams

1 on his procurement. These bids, by definition, had to  
2 include interest by utility entities, so we know that the  
3 utilities have engaged DOE in these discussions. DOE has  
4 already paid out, I think last time I heard Ward speak, over  
5 \$250 million in settlements and lawsuits.

6           There are two major utilities that have settlement  
7 agreements with DOE, Duke and Exelon, where they get certain  
8 reimbursed costs, not just from the past, but going forward  
9 for activities that they spend on their site due to DOE's  
10 non-performance. So, I think what has to happen is the  
11 utilities have to weigh the value of what's being offered in  
12 the TADs against what they are likely to get in a settlement  
13 absent the TADs. And again, the only thing I can do, I  
14 cannot speak for the individual members' negotiating  
15 positions, nor would I want to say anything to compromise  
16 those positions, as Chris will not compromise his negotiating  
17 position, but just if you look where the procurement is, it  
18 is very strong evidence that those negotiations are real and  
19 they're ongoing.

20           ABKOWITZ: Thank you. John?

21           GARRICK: Speaking of integration, organizational  
22 integration in particular, one of the continuing concerns  
23 that this Board has had is the desire to move in a direction  
24 of realism as much as possible in the design of this  
25 facility, and to arrive at practical solutions, not

1 necessarily solutions that are adopted just because it makes  
2 the regulatory compliance easier. And, we are particularly  
3 concerned about the industry resource as a part of this  
4 process, and the mechanisms that have been employed to get  
5 enhanced interaction between industry and DOE on this  
6 project.

7           You have talked a number--addressed a number of  
8 points about how this has been improving and working, and  
9 what have you. I guess I'd like you to pick one or two  
10 things that you think have been most important in providing  
11 the public with assurance that the industry perspective and  
12 the industry experience is part of the foundation of the  
13 design basis for this project.

14           MC CULLUM: Well, I think you kind of have to  
15 deconstruct the record a little bit there. But, if you look  
16 at the final specification, you look at what DOE is calling  
17 for, and you look at what is not in there, such as nickel  
18 gadolinium, carbon steel, you look at the way that our  
19 experience in loading is reflected in terms of the radiation  
20 protection requirements and the shielding, and I think you're  
21 raising a second point here, which I'll just simply have to  
22 take back, which is how you make that transparent to the  
23 public.

24           But, you have a specification that is not, and by  
25 deconstructing the record, you can go back to things that

1 were in previous DOE repository designs, nickel gadolinium is  
2 certainly a matter of record, and you can see a difference  
3 between, you know, the design DOE was talking about for its  
4 waste packages more than 16 months ago, and what is in that  
5 specification. And, the difference is entirely due to the  
6 fact that industry experience has been brought into that.  
7 Every one of the vendors, and a number of utilities and other  
8 players have come to the table. They, on their own time and  
9 their own dime, have come to meetings, multiple meetings with  
10 DOE to get these issues resolved.

11 But, how do I package that up and wrap it up so the  
12 public sees it all? That's interesting. I think this  
13 meeting is an important part of that. I mean, I think we are  
14 putting on the record this discussion that we have in fact  
15 done that. But, if you look at where DOE was 16 months ago,  
16 and you look at the specification there, I think that speaks  
17 to--that's the best thing I have right now to speak to that.

18 GARRICK: Well, can you just comment briefly on the role  
19 of such organizations as NEI and USTC in making this happen?

20 MC CULLUM: Oh, I'd love to brag, yes. We facilitated  
21 the discussions. We hosted a number of the meetings. You  
22 know, between David's offices and NEI's offices, you have a  
23 very comprehensive coverage of the industry. I mean, when I  
24 say there's a lot of overlap, the majority of the members of,  
25 you know, the major vendors, for example, are in both

1 organizations, a lot of the transportation integrators, but  
2 David plays a more focused role with some of those. We play  
3 a broader role. Utilities are our biggest dues payers, and  
4 we were able to facilitate this. I think we were able to  
5 drive on DOE. You may have heard some of that today. I  
6 mean, we are continuing to push for DOE to swing at those  
7 balls that are in their court, and to hit them soundly. And,  
8 I think that's an important part of our role.

9 Yes, David?

10 BLEE: This has been refreshing, it's been  
11 groundbreaking, but the fact of the matter is there is no  
12 mechanism for this being repeated in other programs. As you  
13 know, you all are beating the drum on the surface facility.  
14 But, there was very little interaction at all with industry  
15 on the surface facility, which was just critical, in which  
16 they had considerable expertise to bring to bear there.

17 When you go to other countries, I just returned  
18 from Sweden and Finland, and a number of you had a trip  
19 there, it's being done by the private sector, so, there is a  
20 mechanism for the private sector, but the transparency of  
21 their programs is remarkable. And, that enhances public  
22 safety.

23 So, in terms of industry input into other elements  
24 of the program, in this case, DOE recognized that, well,  
25 consistent with the Nuclear Waste Policy Act in the

1 transportation sector, maximum reliance on the private sector  
2 to achieve transportation oriented projects. That is the law  
3 of the land. But, too, they welcomed that, they did not try  
4 to become a market maker. But, it has been isolated really  
5 to this, and, of course, there have been ad hoc, I think  
6 that, you know, you have a director of the program who comes  
7 from the private sector, who has recognized us and brought  
8 people in.

9           But, in many respects, you know, I'll give you  
10 credit for forcing the focus on this. That certainly has,  
11 and welcoming the private sector up here to even give our  
12 views on this, I think that has been very helpful, and we  
13 hope you'll do that in other areas, because I think that's  
14 where you can serve as a bridge to the private sector as far  
15 as some kind of standing organization. This has been very  
16 much ad hoc between organizations in terms of we were--DOE  
17 was not resistant to the idea of our getting involved in sort  
18 of a working group together. But, again, it's one of a kind  
19 so far, and once they get into the RFP process, or the  
20 contractual work going forward, there is not necessarily a  
21 standing entity that will survive this process. But, I think  
22 you can be a catalyst there and you can be a bridge to a lot  
23 of this.

24           GARRICK: Thank you.

25           MC CULLUM: Yes, I'd just like to add, I mean, we talked

1 about building the first bridge here. I think what you're  
2 saying is maybe there needs to be more, and we'd agree, and  
3 both of our organizations would be happy to facilitate other  
4 interactions.

5 ABKOWITZ: Okay. I've got Andy, then David, and then  
6 Ali, and then Thure.

7 KADAK: Yes, I'd like to ask about this integration  
8 question. One of the criteria that was not mentioned here  
9 was thermal loading. You are able to load apparently  
10 packages of greater than 18 or 20, or however many kilowatts  
11 in the package, provided all you need to do is meet the  
12 transportation requirements?

13 MC CULLUM: That's correct. That's why the middle name  
14 of the TAD is aging, because as long as we meet the  
15 transportation requirements, we can load what we can load,  
16 and then they will sit out in that earthquake proof aging pad  
17 until they're ready to go in the mountain.

18 KADAK: And, relative to the integration, have you had a  
19 chance to look at the TSM assumptions about what you will be  
20 doing when you get these storage canisters, these TADs, in  
21 terms of do you need to build your own on-site storage  
22 facility, or do you wait for the truck to come, or the train  
23 to come? Have you looked at that?

24 MC CULLUM: Well, yes, and I think Chris addressed this  
25 in his presentation. Right now, we don't see any substantive

1 change, except for the fact that we would be loading more  
2 containers. I mean, if a utility has not reached the point  
3 in their pool where they need dry storage, they probably  
4 would wait on buying a TAD, unless DOE was saying we're  
5 coming to the gate, you know, I'm sure they'd jump at that.  
6 But, once a utility has already built an SVC (phonetic), or  
7 is planning to build their first SVC if the TAD works into  
8 that planning window, it would simply be loading a different  
9 canister into systems that are fully compatible with the  
10 existing systems we use.

11 KADAK: So, the answer is yes, you have reviewed their  
12 planning assumptions on the TSM?

13 MC CULLUM: Yes. Well, no, not specifically the TSM.  
14 This comes from our interactions that led to the spec and  
15 through the procurement. We do not see in what is being  
16 called for in that specification anything that would  
17 substantially change the way we do business in terms of  
18 loading dry storage.

19 KADAK: That's a TAD spec, not a use spec?

20 MC CULLUM: A what spec?

21 KADAK: A TAD spec, but not a use spec in terms of  
22 implementation. What I'm trying to get at is have you guys  
23 looked at what DOE has assumed relative to how these TADs  
24 will be managed at your sites so it can be effectively  
25 integrated into their delivery system, and the thermal



1 loading is an important characteristic of that.

2 MC CULLUM: Well, again, without going specifically to  
3 the TSM, the answer is no, we haven't looked at that.

4 KADAK: Okay. Now, the last question, I'm sorry, just  
5 one more, from an economic standpoint, is it realistic to  
6 think that the TADs will be comparably priced to a much  
7 larger canister?

8 MC CULLUM: No. We don't expect that, and that's the  
9 subject of negotiations in terms of what incentives DOE is  
10 offering so that the fuels manager can go to his boss and  
11 explain why it's a sound business decision to use a TAD.  
12 There's no illusion that a TAD will be priced at the same,  
13 you know, on a per assembly basis, the same as an existing  
14 system.

15 KADAK: Thank you.

16 ABKOWITZ: David?

17 DUQUETTE: Duquette, Board.

18 First of all, I'd like to commend your  
19 negotiations, and so on and so forth. As you probably know,  
20 many members of this Board have been very much in favor of a  
21 dialogue between industry and DOE.

22 MC CULLUM: Thank you.

23 DUQUETTE: And, secondly, many of us on this Board have  
24 been in favor of the TAD concept from the very beginning that  
25 it was introduced.

1           I have a very naïve question, and I know the number  
2 changes all the time with acquisitions, but how many  
3 utilities currently are--what percentage of the utilities  
4 that have nuclear plants have more or less signed on to this?

5           MC CULLUM: Well, that would be getting in between the  
6 negotiations. I mean, nobody is going to publicly--and, I  
7 hate to give this answer, I really do.

8           DUQUETTE: But, is it 50 percent, 80 percent, 90  
9 percent?

10          MC CULLUM: I can only tell you that when we had the  
11 interactions with DOE, we had probably anywhere between 50  
12 and 80 percent of the reactors represented at the table all  
13 the way through the process in terms of the utility  
14 participation in the interactions. As to what utilities have  
15 partnered--or entitied with what vendors, inside the  
16 procurement, I can't speak to that.

17          DUQUETTE: I don't want specific names.

18          MC CULLUM: I can also say that NEI is the policy-making  
19 body for the nuclear industry, and what you're seeing there  
20 on integrated used fuel management is the official policy of  
21 the industry. It's been endorsed by the CNOs of--chief  
22 nuclear officers of all the major utilities, 104 nuclear  
23 plants. So, the TAD initiative is within our overall  
24 industry policy, and the industry participation in the TAD  
25 development had so far been, you know, definitely majority,

1 and I don't see, again, as long as DOE makes good on its end  
2 of the bargain, I don't see any reason why that would change.

3 DUQUETTE: And, a pseudo-technical question. You  
4 mentioned that the amount of waste that still is to be  
5 generated could pretty much all be handled in new TADs. Do  
6 you see a situation where you will unload the current DPCs at  
7 the utility sites into TADs for shipping?

8 MC CULLUM: I don't see any such situation. I think DOE  
9 is designing into their facility the capability to unload  
10 them there, and given that when the TADs show up, we'll have  
11 fuel to put in them, I think the system--the system actually  
12 will work very well the way it's being designed, and I don't  
13 see any reason to bring the DPCs back into the utility pools.

14 ABKOWITZ: Ali?

15 MOSLEH: Mosleh, Board.

16 Mine are related to the design of the TADs in terms  
17 of requirements. I assume that the truckable version is a  
18 minor variant of the rail ones; is that the case?

19 BREE: Yeah, it would be a--right now, the only truck  
20 casks in existent in terms of--is one assembly, and that's  
21 just a simple legal weight truck. This would be a scaled  
22 down version, in terms of no one has actually come out with a  
23 concept, but in terms of designs that I've seen, it would be  
24 a multi-element scaled down version, and you'd have to look  
25 at the cost benefit of that, and the feasibility of that just

1 in terms of fitting with the overall program. But,  
2 essentially, it would be down-scaled to fit--be carried on a  
3 truck.

4 MOSLEH: Yes. And, then, another one is on one of the  
5 slides, I think it's Slide 12, said additional seismic  
6 requirements would be a challenge. What do you use as a  
7 reference for additional? I know 3G, and then what would be  
8 the level that would not be a challenge?

9 MC CULLUM: Well, I guess this is best illustrated, I  
10 have two versions, I have the draft spec on my shelf, and I  
11 have the final spec, and the draft spec was about a half inch  
12 thick and the final spec is about three inches thick. The  
13 difference is entirely due to the appendices that were added  
14 on soils and things like that due to the seismic  
15 requirements.

16 The vendors have, in making proposals, committed to  
17 address these, and it's important to point out here these  
18 only really come into play with the aging overpack design,  
19 primarily come into play with the aging overpack design. So,  
20 all the challenge is meetable. You know, it's a tremendous  
21 additional amount of work, as reflected by that difference.  
22 And, when we say TADs must continue to evolve, this is what  
23 we mean. I would think that TAD number one and TAD number  
24 172 might be--TAD number 172 might be improved, and I would  
25 hope we could--that DOE, in future licensing iterations,

1 would become more realistic on its seismic analysis.

2 ABKOWITZ: Thure?

3 CERLING: Cerling, Board.

4 A number of times you've alluded to the fact that  
5 on a number of issues, the ball is in DOE's court. And, so,  
6 I'm just kind of wondering from a whole process perspective,  
7 sort of what are the rate limiting steps from your viewpoint,  
8 and again, both from your side and DOE's side, that have to  
9 be done to make this a real place where you can actually  
10 cross the bridge? What are the things that have to be--

11 MC CULLUM: There's really two things. The first thing  
12 is in terms of completing the procurement on schedule, and  
13 that also includes some negotiating on the incentives. So,  
14 there's the economic legal piece of this. If DOE continues  
15 to, in its season of delivery here, if it continues to make  
16 good on promises, that's doable.

17 The second thing is obviously as the vendors are  
18 going forward with NRC and seeking Part 71 and 72 licenses,  
19 DOE needs to be plugged in enough to continue to be giving us  
20 the assurance that everything is okay in Part 63 space. And,  
21 that implies the continued openness and interactions on the  
22 part of the Department, and certainly inquisitiveness on the  
23 part of this Board doesn't hurt there.

24 So, really, in terms of all those dotting lines I  
25 showed on the regulatory graphic, keeping information moving

1 up and down those dotted lines, that's the second thing.  
2 And, the first thing is the financial incentive procurement  
3 piece.

4 BLEE: I would just add a couple thoughts also. You  
5 will need funding. Dr. Sproat talked about his funding  
6 issues. But, you will need funding through 2012 to make this  
7 happen. And, clearly, you're going to have to have  
8 customers. Right now, what we know is if you have the  
9 funding to make this happen through 2012, there's going to be  
10 four TADs delivered in the United States somewhere, maybe  
11 three or four, depending on how things evolve in terms of  
12 there are fees. But, you need the utility customer  
13 ultimately, is what Rob was referring to.

14 And, I think once the--the vendors need to deliver.  
15 Once they, assuming that the RFPs go forward in the next 10  
16 to 15 days, or the awards go forward, the vendors have a very  
17 aggressive schedule to meet. And, then really, the focus  
18 right now is moving into the NRC's court, so to speak, and I  
19 think if you had the NRC in here sometime for one of your  
20 meetings, I think you'd find that very instructive. I think  
21 they are ready for this--they are resource limited, to some  
22 extent, but I believe they've identified the resources  
23 certainly for the next fiscal year to move forward with this.

24 ABKOWITZ: At the risk of turning the baton back to Dr.  
25 Garrick late, I'm going to allow Andy Kadak to once again--

1 GARRICK: I stole five minutes of your time. So, you  
2 have a little.

3 KADAK: I'd like to ask about, you mentioned interim  
4 storage and NEI's position on that, in the context of this  
5 discussion. Clearly, the effort to site an interim storage  
6 facility will take money, will take distractions from the  
7 Department of Energy, and I'm just wondering where NEI is  
8 relative to priorities about moving this process forward  
9 compared to getting an interim storage facility moving?

10 MC CULLUM: We see the two moving together hand in hand.  
11 Interim storage is a very high priority for our industry.  
12 There's no question we want DOE to begin moving fuel away  
13 from the reactor sites as soon as possible. Interim storage  
14 is best done, though, against the backdrop of a successful  
15 Yucca Mountain project, and that's trying the imagery on the  
16 bridges and the integrated used fuel management I'm trying to  
17 leave here, is--the government cannot say okay, we're going  
18 to do interim storage now, it's an alternative to Yucca  
19 Mountain. That's not acceptable to anybody. So, yeah, that  
20 goes to funding, that goes to freeing up the waste fund, that  
21 goes to all kinds of things, some of which might not be in  
22 place right now, but we don't see those as being separable.  
23 We want to see interim storage and we understand that to  
24 sustain that, you need a successful Yucca Mountain project  
25 continuing to knock down milestones. So, that's the answer.

1           KADAK: Relative to the resources and the effort of DOE,  
2 recognizing, as you both know, the successful MRS program we  
3 had a few years ago, the successful private fuel storage we  
4 have already licensed, do you really think the DOE should be  
5 spending its time doing that instead of, because I think it  
6 will have to be kind of an instead of, because they don't  
7 have the money, they don't have the time, they don't have the  
8 resources?

9           MC CULLUM: Well, I think the point of disagreement  
10 here, and I think we'll just have to agree to disagree, is on  
11 the term instead of. I mean, there's \$20 billion in the  
12 nuclear waste fund. If that money is available to make good  
13 on the DOE federal obligation, there doesn't need to be an  
14 instead of.

15           ABKOWITZ: Okay. Again, Rod and David, thank you for  
16 your participation, and we very much appreciate the effort  
17 that industry is making on behalf of this project.

18                   John?

19           GARRICK: Thank you. And, I'm just going to turn right  
20 around and turn it over to Howard Arnold for the next couple  
21 of presentations.

22           ARNOLD: All right.

23                   The surface facilities we're about to hear about  
24 are not those I saw when I was new to this Board three years  
25 ago. Thank goodness. Good riddance to dry handling and a



1 million lifts.

2           Aside from criteria issues like seismic, which will  
3 not be addressed fully today, the main issues on my radar  
4 screen are those of providing enough flexibility, especially  
5 in sizing of wet handling, to cover the wide range of future  
6 scenarios, delay of rail lines, timing of TAD availability,  
7 and some of the things we've already been talking about, and,  
8 particularly the percentage of spent fuel that won't be in  
9 TADs at the time of reloading.

10           Another issue on my radar screen is a degree of  
11 detail in design and safety analysis, which are so far  
12 available. My most recent experience was with a one-step  
13 license for our centrifuge enrichment plant, and perhaps that  
14 spoiled me. And, that's also the path being used for new  
15 reactor plants. Essentially a final design would be required  
16 at the time of the license application. But, Yucca Mountain  
17 is not being licensed under that set of regulations. It's  
18 going forward under the class two-step process. This license  
19 application is my understanding the equivalent of an old  
20 PSAR, preliminary safety analysis report. Maybe I'm wrong  
21 about that, but that's the way I see it.

22           In any event, our Board is not the judge of the  
23 sufficiency of detail at any particular point in the  
24 licensing step. That's between the NRC and DOE. Our job is  
25 to review what we see, and comment where we see gaps or

1 issues, and that's what I intend to do.

2 We will hear first from Bob Slovic, who prior to  
3 joining DOE in early '04, had 24 years of experience with  
4 Bechtel on commercial nuclear plants, and I think that's a  
5 great way to start this.

6 SLOVIC: Okay, thank you very much.

7 First slide, please. We unfortunately, or  
8 fortunately for us and unfortunately for everybody else, we  
9 talk in a lot of shorthands. So, this particular slide is a  
10 number of the acronyms that we use. I apologize, but they're  
11 there. It's one slide of that. So, you'll see there dual-  
12 purpose canister, geological repository operations area,  
13 preclosure safety analysis, which is a product and also the  
14 group that does the product. So, my friend, Dr. Frank, is  
15 here and he'll talk to you later about that. And, you see  
16 TAD. So, these are, if you hear shorthand, if you hear me  
17 using shorthand in it, you'll go to it.

18 The next slide, please? The design of the product  
19 is actually being done in a full-sized three dimensional  
20 model, and this is a picture of the model of the site plan as  
21 it existed, oh, about a week or so ago. It changes daily.  
22 You'll see things like here, this is a utility facility, and  
23 it looks like a bunch of sticks, and stuff, because they  
24 haven't finished modeling yet. But, the day that this  
25 picture was taken out of the model, that's what it looked

1 like.

2           The dark brown is essentially earth work, doesn't  
3 necessarily have all the buildings on it. This again is  
4 looking--this is west. This is not a very good  
5 representation, but that's the north portal. That's where  
6 the waste forms would be transferred to the repository, to  
7 the subsurface repository. The building here is the initial  
8 handling facility. This is a maintenance facility for the  
9 transport and emplacement vehicle. These are some more  
10 administrative buildings. This is the wet handling facility.  
11 This is canister receipt and closure facility number one, and  
12 this is the receipt facility. And, we'll get to what each  
13 one of those does.

14           Further down in the model, but you can't see, it's  
15 off the page, there are two more spots. When we got our  
16 requirements to change the repository to the mostly canister  
17 based system, we got the requirement that 90 percent of the  
18 commercial fuel would come to us in TADs. The other 10  
19 percent would come uncanistered, and uncanistered means  
20 either in casks or in a dual purpose canister. And, we would  
21 repackage that amount.

22           So, we came up with a system that would meet those  
23 requirements. The system has flexibility. It has some  
24 additional capacity that's beyond that 90/10 split. Anyway,  
25 the site plan.

1           So, the next slide is a little complicated.  
2   Hopefully, if you've got a magnifying glass, you could use  
3   it. But, we get various waste forms. I don't know if you're  
4   familiar with the old design. We had single facilities that  
5   were all things to all waste forms, and now we have multiple  
6   facilities, each one with essentially a different purpose.

7           We get uncanistered commercial fuel. We get dual  
8   purpose canisters, which are for our purposes are  
9   uncanistered, because as of now, we can't dispose of them.  
10   We get DOE canisters of high-level waste, which is vitrified  
11   glass, or DOE SNF, which is of various and sundry forms that  
12   come to us. We have the Naval canister, which is also DOE  
13   SNF, and then we have the TAD canister. And, for the  
14   purposes of the design, the TAD canister and the Naval  
15   canister, at least the TAD canister in it's initial  
16   configuration, was the same size as the Naval long canister.  
17   It facilitated our efforts to get started.

18           Commercial fuel is going to come to us in truck  
19   casks. I don't believe there are any licensed truck casks  
20   now, but there have been designs in the past, or in dual  
21   purpose canisters, or in TADs from down here. The dual  
22   purpose canisters and the TADs will come via rail. And,  
23   that's a picture of a transportation cask.

24           We also have the capability to--again, there's no  
25   transportation cask for it, but the initial handling facility

1 has the capability to receive high-level waste canisters in  
2 truck casks in that facility. The initial handling facility  
3 is the facility that's uniquely designed to handle the Navy  
4 transportation cask. The canister didn't change sizes, but  
5 the Navy changed the transportation cask size, which  
6 necessitated a larger crane and a different crane height in  
7 order to make it work.

8           The canister receipt and closure facility is the  
9 work horse facility. Its purpose is, as stated in its name,  
10 to receive canisters and to load them into waste packages and  
11 to close the waste packages. So, it's the point where waste  
12 is transferred from its shipping or storage container into  
13 the waste package to go underground.

14           The wet handling facility is designed specifically  
15 for the 10 percent of the fuel that's supposed to come to us  
16 as either individual assemblies in transportation cask or in  
17 dual purpose canisters.

18           And, the receipt facility is designed to allow us  
19 to uncouple receipt from emplacement. We have a requirement  
20 to receive 3,000 metric tons of commercial fuel in a given  
21 year once we've got the full repository going. And, we have  
22 to receive it in 25 years, but we have a 50 year emplacement  
23 period. So, there can be a break. We don't have to emplace  
24 everything we receive right away.

25           We do have aging pads. They have 2,500 spaces for

1 TADs or dual purpose canisters, with approximate capacity of  
2 about 21,000 metric tons of heavy metal. The preferred  
3 approach is to load the waste packages and take them directly  
4 to the drift. We do have, we're not going to talk about, but  
5 we do have thermal limits now as to when we can emplace,  
6 which affects the aging pad and other things.

7           Next slide, please. Again, we've split the waste  
8 forms between facilities. High-level waste, while there's a  
9 capability to do it in the initial handling facility,  
10 essentially all of it will go through the canister receipt  
11 and closure facilities. Naval SNF canisters will only go  
12 through the initial handling facility. DOE SNF canisters  
13 will only go through the canister receipt and closure  
14 facilities.

15           Uncanistered CSNF, and that's either individual  
16 fuel assemblies or fuel in dual purpose canisters, will go  
17 through the wet handling facility. And, the TADs, commercial  
18 fuel in TADs, goes through the canister receipt and closure  
19 facility primarily for disposal, but they're actually loaded  
20 in the wet handling facility, so we have capabilities to  
21 handle TADs there. And, they're also, they process through  
22 the receipt facility from transportation casks into aging  
23 overpacks or side cask.

24           So, the principal features that we have, in the  
25 initial handling facility, we can load and close waste

1 packages. It is an ITS seismic structure. It does have--ITS  
2 is important to safety, as determined by the preclosure  
3 safety analysis. It has important to safety mechanical  
4 systems, and it does have a limited amount of dry remediation  
5 capability. We're not interested in reconstituting fuel, or  
6 anything like that, but if we have to replace the bolts on a  
7 transportation cask, or something, to get it to work, that's  
8 what we're intending to do.

9           Canister receipt and closure facility, the other  
10 facility with waste package loading and closure, where the  
11 IHF will do approximately 400, the other 10,600 will go  
12 through one of the three canister receipt and closure  
13 facilities. Again, it's an ITS structure, ITS mechanical  
14 handling. It has, because of the considerations of a dropped  
15 and breached commercial fuel canister, we do have ITS  
16 confinement, and we have ITS HEPA exhaust, which is a  
17 mitigation thing that we can talk about under preclosure  
18 safety. And, it's also powered by ITS emergency power.

19           So, the difference between IHF and canister receipt  
20 is the waste forms. These two particular waste forms, HLW  
21 and Naval SNF, do not require mitigation in order to meet the  
22 dose requirements of 10 CFR Part 63. We do require them for  
23 commercial fuel, and, so, that's why the IHF has these.  
24 Because the wet handling facility and the receipt facility  
25 both have the same capability to handle commercial fuel in

1 canisters, either in DPCs or in TADs, they also have the  
2 confinement, the HEPA filtered exhaust and the emergency  
3 power. But, you notice that neither the wet handling  
4 facility or the receipt facility have waste package loading  
5 and closure capability. So, that's a breakdown by the waste  
6 forms.

7           I can't show the entire layout of the--this is part  
8 of the canister receipt and closure facility. For safeguards  
9 and security reasons, I can't show the entire surrounding  
10 areas. But, this is taken from the model, and this is the  
11 area where we, when we receipt transportation casks, they are  
12 received in their 10 CFR Part 71 configuration. And, this is  
13 where we take them out of their Part 71 configuration. It's  
14 inside. The building is reinforced concrete, approximately  
15 four foot thick walls. This particular area has HEPA  
16 filtered, important to safety ventilation powered by  
17 emergency electrical power. This structure is designed to  
18 confine any radioactivity dynamically if we have an event  
19 sequence in there.

20           I need to add that drop of a transportation cask is  
21 one of the event sequences that we have considered. It's not  
22 a Category 1 event, so it's not expected to occur in the life  
23 of the plant. But, we're designing for it because we can't  
24 exclude it on a probabilistic basis.

25           So, in this area, and if this were whatever the



1 transportation cask is, we bring it in to the building, we  
2 shut the building up. All of the safety systems are running.  
3 We have an operator in the facility that says okay,  
4 everything is ready to go, to start doing your jobs.

5           So, the first thing that happens is the impact  
6 limiters, the inflatable or non-inflatable ones, come off the  
7 transportation cask. There's a 200 ton NOG-1, Type 1 single  
8 failure-proof crane in this area that will lift the cask.  
9 The casks are nominally 125 tons without impact limiters.  
10 So, they will be raised up, verticalized, and then put into  
11 this device--well, the device is here. This is shown with  
12 platforms under it. This is a cask transfer trolley, and its  
13 purpose is to maintain the stability, among other things, it  
14 moves the cask for unloading, but it also maintains the  
15 stability of the cask in seismic events.

16           So, when the cask is upended, it's put into here.  
17 It's prepped. If there are outer lids, the outer lids are  
18 removed. If there are bolts that hold on the shield plugs or  
19 the shield lids, they are removed. And, when the cask is  
20 ready, it's transferred into this area, which is an unloading  
21 room. There's only one trolley on each train. There are two  
22 trains in the canister receipt and closure facility. There's  
23 only one trolley in each train, but the model has depicted it  
24 in two locations.

25           So, if you go to the next slide, please? This is a

1 little bit smaller, a little harder to see, but this is the  
2 area we were just looking at. This is the prep area. And,  
3 then, when the cask is prepped, it's moved into here. We do  
4 have flexibility to accommodate different size, different  
5 length casks for different things, because some of the casks  
6 have to be shorter because of the waste forms inside of them.  
7 But, we have provisions to basically accept any casks that we  
8 would anticipate having.

9 All these operations out here are shielded by the  
10 transportation cask itself, by work platforms, by other  
11 things, but all the activities are accessible by operators to  
12 do the work.

13 Once it's moved into this area, the unloading area,  
14 there are shield doors that are shut, and there's a shield  
15 gate in the top of the room.

16 Meanwhile, we would have brought in the appropriate  
17 waste package empty into the other side, and the unloading  
18 process is the reverse of the loading. So, an empty waste  
19 package is brought in horizontally. It's put on its  
20 emplacement pallet. The emplacement pallet is how it's  
21 handled to get it down into the emplacement drift in the  
22 subsurface. The trolley upends it, and it moves to the  
23 loading position.

24 Once it's in the loading position, depending on  
25 what we're doing, if this was a TAD, it's a one transfer, one

1 canister out of the transportation cask into the waste  
2 package. If it's a co-disposal waste package, which co-  
3 disposes both high-level waste and DOE SNF, then it's  
4 multiple transfers to load the waste package.

5           Once the waste package is in place and the cask is  
6 in place, the doors are shut, and these then become--I'm  
7 sorry--we don't allow personnel access to it during the  
8 transfer because if you see, there's not a hard connection  
9 between the top of the cask and the underside. So, as we're  
10 pulling the canister up into the canister transfer machine,  
11 there would be a significant exposure in there, so no  
12 personnel access is allowed in there then.

13           The canister transfer machine is essentially a  
14 heavy crane, again, primarily ASME NOG 1, Type 1, with a  
15 shielded bell on it. The bell has a gate on it. There are  
16 gates in the floor. We align the canister transfer machine  
17 over the gate, open the gate in the canister transfer  
18 machine, open the gate in the floor. Everything is shielded.  
19 And, then, there's a second trolley on the canister transfer  
20 machine that has a hoist on it that goes down and engages the  
21 canister, pulls it up into the bell. Doors shut, and then  
22 moves to the loading position, and the operation is reversed.

23           So, all the time during that operation, there is,  
24 even though it can be operated remotely, we still have access  
25 to that area.

1           We also, because this is the area when we're  
2 hoisting a canister out of a cask or lowering it into a waste  
3 package, we have--there's an event sequence that could occur  
4 involving a drop of that particular canister, failure of  
5 equipment, drop of the canister, because of that, these  
6 areas, this room and this room, and there's four of them  
7 total, both have the confinement capability, plus the ITS  
8 HEPA filtered exhaust powered by the ITS electrical.

9           This is the plan of the transfer room. Here's the  
10 prep room that we saw earlier. Here's an unloading port,  
11 another unloading port, and here are the two loading ports.  
12 We also have some staging capability here, a limited amount.  
13 We have the capability to stage two TAD size canisters over  
14 there. For some reason, there's never any intention to do  
15 that, when we bring a TAD canister in, it's to be emplaced,  
16 but there may be some procedural or maintenance requirement  
17 that requires us to put us in staging. So, we have that  
18 capability. But, we do intend to use the other side. Again,  
19 because of the co-disposal packages, how the waste will be  
20 shipped to us, we anticipate we'll get a transportation cask  
21 of anywhere from seven to nine DOE SNF canisters, and we only  
22 load one per waste package, so we will then stage them in  
23 this area, again, with shield gates and the canister transfer  
24 machine, until we get a series of shipments, transportation  
25 casks of high-level waste, and then we can load the co-

1 disposal waste packages.

2           ARNOLD: Excuse me, Bob. We had you down for two  
3 separate 20 minute presentations. Would you rather collapse  
4 them into one?

5           SLOVIC: Yes, I'll just keep going.

6           ARNOLD: Just keep going and then we'll have a single  
7 question and answer--

8           SLOVIC: Right. Originally, the second part was going  
9 to be delivered by someone else.

10          ARNOLD: Oh, I see. Okay. We'll let you run right  
11 through your two presentations.

12          SLOVIC: Stop me whenever. I'll go on forever. You  
13 know me. Just stop me when you want to.

14          ARNOLD: You've got another 20 minutes.

15          SLOVIC: Okay. The next slide, this is the waste package  
16 closure area. Again, it's a remote system. It's one of the  
17 key activities that we have to demonstrate because the  
18 integrity of the outer weld, outer barrier weld, is very  
19 important to the TSPA and to the postclosure activities. So,  
20 we have two robots. I think some of you anyway have been up  
21 to INEL and watched the progress of the welding robots for  
22 the closure system. And, when they're progressing to--I'll  
23 interject--they're progressing to build the demonstration  
24 facility that will be used to demonstrate the waste package  
25 closure system. Most of our concerns are not that we're

1 using new equipment, but that we'll be using it in a  
2 different way, in an integrated way. So, that's the  
3 difficulty in this.

4           So, here, the waste package is closed. The inner  
5 lid is put on and welded. The waste package cavity is  
6 dried--I'm sorry, not dried, is evacuated and backfilled with  
7 helium, and then the outer corrosion barrier lid is put on.  
8 It's welded to multi-pass weld. Non-destructive examination  
9 between each pass. And, then, once the weld is accepted,  
10 stress mitigation is performed on the surface. And, at that  
11 point, the waste package is closed and ready to go.

12           Next slide? This is the waste package loadout  
13 area. You will hear it called the TEV. It's the transport  
14 and emplacement vehicle. It's a shielded vehicle. And,  
15 again, backing up one slide, with the combination of the--the  
16 waste package transfer trolley is shielded. There's a shield  
17 plug on the top of the waste package. So, again, if there's  
18 a problem with this piece of equipment, you could go in and  
19 manually, unless you're doing transfer, you could go in and  
20 maintain the equipment. So, back to the next one.

21           So, here, after it's closed in this location, the  
22 shield doors open, the waste package trolley comes out. It's  
23 a rail based trolley. There is a shield plug that's on top  
24 of it that protects the--positions the waste package and  
25 provides some annular shielding. Then, that tilts down and

1 there is a cart that engages a drive in the floor. There's a  
2 cart inside the waste package trolley on which the  
3 emplacement pallet is sitting, on which the waste package is  
4 sitting. So, we don't touch the waste package. We pull it  
5 out.

6           Meanwhile, the transport and emplacement vehicle  
7 has come in. Its doors are opened. It has a bedplate that's  
8 retracted, and then this whole inverted "U" is lowered on  
9 screw jacks so that the waste package on its emplacement  
10 pallet can be pulled into the waste package trolley.

11           At this point, this gap here is where we will do a  
12 visual inspection of the surface of the waste package. There  
13 is a, to be developed, acceptance criteria for how much of a  
14 defect we could tolerate on the surface of the waste package.  
15 So, that's the production.

16           The handling of canisters in the initial handling  
17 facility is very similar, except there's only a single train  
18 in there and a single waste package closure.

19           Next, we're going to the wet handling facility.  
20 This is a picture of essentially the pool room, as we call  
21 it, the operating area. It has similar functions to the CRC.  
22 Transportation casks come in, either truck cask or rail based  
23 cask. We have a 200 ton crane. Again, the 200 ton crane,  
24 same operations, reinforced concrete structure, ITS  
25 ventilation systems. We shut all the doors, take the impact

1 limiters off, upend the cask, and depending on what it is,  
2 truck casks are prepped over here, rail casks are prepped in  
3 this area.

4           If it's a cask that contains a DPC, we then, behind  
5 this wall what you can't see is another of the loading and  
6 the unloading stations with another canister transfer  
7 machine, so that we have the flexibility, if we wanted to  
8 take the canister out of the transportation cask and put it  
9 into a shielded transfer cask, which we use in here in this  
10 building, we do that.

11           So, if it's a cask with individual assemblies, it's  
12 prepped, and then it's put into the pool, and it's either  
13 unloaded directly into a TAD that's in the pool, or we have  
14 storage racks in the pool for a limited amount of staging, up  
15 to 200 assemblies.

16           DPCs, if we take them, the capability that we have  
17 in the facility, we get the dual purpose canister out of its  
18 transportation cask, or out of an aging overpack if it's  
19 coming from a receipt facility or the aging pad, and then  
20 it's put into a shielded transfer cask which is especially  
21 designed to allow us to do the opening process and to immerse  
22 it into the pool.

23           So, once it's loaded into the shielded transfer  
24 cask, it's put to this area. This is the DPC cutting area  
25 where we essentially reverse the process that the utilities



1 use to close the dual purpose canister. We essentially  
2 machine off the welds in the reverse order that they were  
3 installed. So, we'll take off the outer lid, uncover the  
4 vent and drain connections. At that point in time, the DPC  
5 is still inerted with helium. So, as necessary, we'll cool  
6 it, depending on the thermal load on it, so that we don't  
7 get, when we introduce water, we don't get a big steam bubble  
8 problem. We will cool it.

9           And, then, once it's cooled, we'll flood the DPC  
10 canister with borated water from the pool, and at that point  
11 in time, we can complete the--or we can do the removal of the  
12 weld that holds the shield plug in. And, once that's done, we  
13 put the lid back on the shielded transfer cask, which has its  
14 own lid bolted on, and then we transfer it from there into an  
15 area of the pool specifically set aside for DPCs, dual  
16 purpose canisters.

17           There, once the pool water chemistry is okay, or  
18 we've got it to the point where we can unload it, we do the  
19 same process. We open the DPC, remove the lid, and then use  
20 a spent fuel transfer machine similar to commercial utilities  
21 to transfer the fuel assemblies from the open DPC into either  
22 the staging rack or to the TAD.

23           Once the TAD is full, it's brought out of the pool.  
24 It also is in a shielded transfer cask, because the TAD only  
25 had shielding on the top. It's brought out of the pool into

1 this area, which is the TAD closure area, where initially the  
2 lid is welded on. Then, the water is evacuated and then we  
3 do the drying process, vacuum drying or a closed lid helium  
4 drying system, to get it to the portion where the moisture is  
5 removed and the oxidizers are removed. And, then, at that  
6 point, it's backfilled with helium, and then we do the  
7 process all over again so we assure that we have the  
8 appropriate amount of dryness and minimal amount of oxidants  
9 in the can.

10           At that point in time, it's then the lids are  
11 welded on. The vent and drains are closed and the lids are  
12 welded on. And this is very similar to the technology and  
13 the methods that utilities are using now for dual purpose  
14 canisters. We don't intend to have to invent anything to do  
15 this. As Jack Bailey says, we don't have to invent Velcro to  
16 make this work. So, we have that.

17           So, once it's loaded, it's in the shielded transfer  
18 cask, the shielded transfer cask is transferred behind this  
19 wall to the canister transfer machine. And, so, the loaded  
20 and completed TAD is pulled out of the shielded transfer cask  
21 and put into an aging overpack either to go to aging pad or  
22 to go to one of the canister receipt and closure facilities  
23 for disposal.

24           Next is essentially the same. It's just a little  
25 clearer picture of the pool. DPC area is over here isolated

1 from the rest of the pool. We anticipate that some of the  
2 DPCs may have a significant amount of contamination, loose  
3 contamination in them when we open them. And, also, we've  
4 got the aspect of BWR fuel in borated water. So, we're  
5 anticipating that we may have to keep this isolated so we  
6 don't contaminate the rest of the pool until we get this area  
7 under control. Staging racks are here, 120 BWR assemblies,  
8 80 PWR assemblies, and then we have loading positions for the  
9 TADs and the unloading positions for the transportation cask.

10           The next slide is essentially the same thing, just  
11 a section of it. He didn't do a very good job hiding the  
12 walls. These are actually tanks behind the wall. They're  
13 not in the pool. But, you can see the same thing. The pool  
14 is 52 feet deep. It's about 60 by 70. The operations are  
15 similar to what the utilities do, but it's a lot smaller  
16 because we have a much smaller--we're sort of reversed. They  
17 have a small operations area and a large storage area, and  
18 we're reversed on here because we don't intend to stage a lot  
19 of fuel in here. We're just using it for our convenience in  
20 blending to load TADs.

21           So, that's pretty much it on the designs. We have  
22 the receipt facility is just the front end of the canister  
23 receipt and closure facility. It just receives casks and  
24 does transfers. And, the IHF is half of a canister receipt  
25 and closure facility. We have tried to provide commonality

1 of equipment between the facilities to the extent possible.  
2 We're using industry standard ASME NOG-1, Type 1 cask  
3 handling cranes, different capacities, different bridge  
4 lengths, but essentially the same thing.

5           These ones in yellow are equipment that, unique is  
6 the wrong word, but it's some non-standard applications of  
7 this technology. The canister transfer machine is  
8 essentially a crane with a shielded bell. There are other  
9 people that have used similar things.

10           The waste package transfer trolley concept is not  
11 new. They have tilt tables, and things like that, that use  
12 this type of worm gear technology and pivots to handle  
13 things. The use of this allowed us to eliminate a pick at  
14 the waste package in another event.

15           Transport and emplacement vehicle is, you recall  
16 from the previous days, it was a rail car and a locomotive  
17 combined together that did the work. So, they combined it  
18 into a single piece of equipment because it eliminated  
19 transfers, and things like that. So, we've done our best to  
20 make it as simple as possible while maintaining enough  
21 flexibility to handle variations in the waste forms that we  
22 have.

23           So, the site transporter is designed for vertical  
24 handling, or handling of aging overpacks with either TADs or  
25 DPCs in it. Spent fuel transfer machine is just in the wet

1 handling facility. TAD closure and DPC cutting are in the  
2 wet handling facility.

3           Just a couple more slides. The next is a concept  
4 of the cask transfer trolley. Again, it's a seismic frame  
5 because we want to, when we've got it in here, the waste form  
6 is still shielded, but once we have the lid unbolted, if it  
7 were to tip over, we could potentially have the waste form  
8 being ejected onto the floor, which would be an undesirable  
9 event and very difficult to analyze. So, the requirement has  
10 been placed that this not tip over in our design basis  
11 seismic events.

12           Next is the canister transfer machine. Again, it's  
13 essentially a 450 ton crane. It has two trolleys, one that  
14 handles and supports the shielded bell with its slide gates,  
15 and everything else, and a second trolley, a 70 ton hoist  
16 that actually handles the canisters that it's doing.

17           Next is a waste package trolley. Again, it's a  
18 tilting mechanism. It's a rail based, has a worm gear to  
19 hold it. There's very little likelihood--we're anticipating  
20 we'll be able to demonstrate that we won't get a slap-down  
21 event. There's no failure mode that will cause the thing to  
22 tip over and slap-down. That's our goal.

23           This is not quite accurate. Actually, the top of  
24 the waste package extends out about three inches above this  
25 shield. This is not drawn correctly, so that the waste

1 package closure system has access to the top of the waste  
2 package when it's closing.

3 KADAK: No cables on the top to hold it?

4 SLOVIC: Pardon?

5 KADAK: No cables?

6 SLOVIC: For what, sir?

7 KADAK: For upending or down-ending, I guess?

8 SLOVIC: There's no cables. There's a worm gear and a  
9 motor to drive it, so that again we're trying to--I don't  
10 know how familiar you were with the old handling facilities,  
11 but the dry transfer facility had essentially ten lifts for  
12 every waste form as it went through. We have two, one in the  
13 cask and one here, so we've eliminated a vast number of the  
14 lifts in the handling by this type of thing.

15 The next slide is in the down position. So, here  
16 is the cart that's inside the waste package trolley. Here is  
17 the emplacement pallet, and here's the waste package. And,  
18 this is the device that engages the drive in the floor that  
19 pulls it out. And, at this point, if you back up one, at  
20 this point, here is the plug on the top that provides  
21 shielding that's removed, and, while it's in this  
22 configuration, it's accessible and we take the plug off, it's  
23 not. When it's in the next slide, this is then--personnel is  
24 prohibited from this area, and it's done remotely.

25 And, the last picture is the transport and

1 emplacement vehicle. It's a rail based device. It's on  
2 eleven foot gauge rail. It has--does it have four or six, I  
3 forget--it has six motors, I believe. Eight? Thank you. It  
4 has eight motors, all gear reduction driven so that it can't  
5 run away. The wheels can't drive the motors. It's designed  
6 so that if two motors fail, the other six still have enough  
7 capacity to move the TEV. It's approximately nine inches of  
8 shielding. This portion raises and lowers on jack screws.  
9 It has four normal and two backups.

10           These are shield doors on this end, and then  
11 there's a bed plate that backs out. And, there is a--you  
12 can't see it in here, but there is essentially the bottom of  
13 the shield that raises up and down engages a notch in the  
14 emplacement pallet. So, it only touches the emplacement  
15 pallet. It doesn't touch the waste package.

16           Okay, again, other than Part 63, which is the  
17 difficult part, we're trying to use cask handling cranes,  
18 side transporters, transfer machines, TAD closure equipment,  
19 DPC cutting, using existing equipment in current nuclear  
20 power plants with what their consensus codes and standards  
21 are. So, the handling cranes, transfer machines, ASME NOG-1,  
22 Type 1.

23           Next is cask transfer trolley and the waste package  
24 transfer trolley don't have consensive codes. But, we're  
25 going to use the elements of ASME NOG-1 that we can and AISC

1 manual of steel construction to demonstrate the strength.  
2 Again, the canister transfer machine is essentially a crane,  
3 ASME NOG-1. And, again, the transport and emplacement  
4 vehicle does not have a consensus design code. It will be  
5 designed to the applicable portions of NOG-1 and manual of  
6 steel construction.

7           And, the last slide, surface facility structures  
8 are designed in accordance with the principal codes. They're  
9 ACI 349-01, and for the concrete portion, ANSI/AISC N690-1994  
10 for the steel.

11           So, that's all I had, unless there's--I know that  
12 you have some specific questions that I can address, but  
13 that's all the presentation material I had.

14           ARNOLD: John?

15           GARRICK: A couple of simple questions.

16           SLOVIC: Yes, sir.

17           GARRICK: You mentioned at the outset that this design  
18 changes continuously pretty much, and that it's hard to keep  
19 up with it in your viewgraphs, I take it. What can you say  
20 about the stabilizing of a design? What progress are we  
21 making?

22           SLOVIC: Well, glad you asked. We had, when we had the  
23 CD-1 effort last June, the critical decision one that said  
24 we're going with the TAD canister and we're going with--go  
25 back to the site plan, please. We're going with the 3CRCFs



1 and the wet handling facility and the receipt facility.

2           We then set out a plan, both schedule and products,  
3 to produce approximately 1,300 products between the three  
4 engineering projects and the preclosure safety analysis that  
5 would be either direct references in the license application,  
6 or, for instance, if we had a drawing and we needed to do a  
7 calc to support it, then we considered that a licensing  
8 application support product. So, we identified all those  
9 products in conjunction with licensing and preclosure safety  
10 analysis, and we've been proceeding to issue those documents,  
11 some of them in parallel with other activities. So, we've  
12 issued more than a thousand, and we have about--well, we can  
13 do the math--a little less than 300 to go.

14           We've also identified about 100 of them that even  
15 though they're issued, that because of changes, the decision  
16 to borate the wet handling facility pool, some other changes  
17 about not using programmable logic controllers for certain  
18 functions, required us to change about a hundred of those  
19 drawings. So, we're in the process now of meeting on  
20 essentially a daily basis with Preclosure Safety Analysis to  
21 make sure that our design syncs up with their preclosure  
22 safety analysis, that syncs up with the license application.

23           So, we're into configuration control at this point,  
24 and we're coming up with a design that meets the license  
25 application requirements.

1           GARRICK: Okay. One other question. In the  
2 conventional engineering world, they have metrics for  
3 indicating where the design is from the standpoint of  
4 nearness to completeness, metrics like preliminary design,  
5 Title 1, Title 2, Title 3, whatever metric you want to use.  
6 Can you tell us where we are now with respect to the design  
7 and where you expect to be, say, at the time of the filing of  
8 the license application?

9           SLOVIC: At the time of the completion of the license  
10 application, we expect to be, and don't quote me these  
11 numbers, 35 to 40 percent done on important to safety system  
12 structures and components, and probably in the 25 to 30  
13 percent on the supporting systems. So, we will have a  
14 structural design. We will have designs of the important to  
15 safety systems. We will have designs of the electrical  
16 systems that we need. We will have designs for things like  
17 hot water cooling systems for the buildings, but they won't  
18 be to the level of detail that they will for the important to  
19 safety structure systems and components.

20           ARNOLD: Henry?

21           PETROSKI: Petroski, Board.

22                        So, in all these guidelines and drawings that  
23 you're showing us, are these just conceptual, or have any  
24 calculations gone into--

25           SLOVIC: No, these are reflective of the design as it's

1 being completed. In other words, the picture of the crane in  
2 there was based on an issued mechanical equipment envelope  
3 drawing that says the crane is this big, has this capacity,  
4 these dimensions, and these locations. The thicknesses of  
5 the walls are based on the structural analysis that's been  
6 completed to date. The configuration of the building has  
7 been frozen for about a year so that we could do the  
8 structural analysis and get it to this point. So, these are  
9 beyond conceptual designs. These are preliminary designs.

10         PETROSKI: What about some of these cases where you've  
11 looked at the possibility of something tipping over and you  
12 wanted to exclude that by design? Have there been any  
13 calculations made on that?

14         SLOVIC: We are doing, for those pieces of equipment--  
15 you guys are great--we're doing design reports for these new  
16 pieces of equipment. We need to demonstrate to everyone's  
17 satisfaction that we can build--I don't have a specific  
18 finalized ready to go build design for any of this equipment,  
19 but we will have done enough analysis work to demonstrate  
20 that if he needs a particular reliability with our design in  
21 the margins, we can meet that reliability for this particular  
22 device. So, we will have those done in time, at the time of  
23 license application submittal.

24         PETROSKI: How much interaction is going on between your  
25 group and industry, Idaho, various other places that have

1 some experience?

2 SLOVIC: It's an interesting question. We interface  
3 with Idaho. They're a subcontractor of ours to do the waste  
4 package closure system. So, we mine that resource as we can  
5 for material handling and things like that. We do have  
6 contacts with the commercial vendors, limited, to get their  
7 experience and their input on these pieces of equipment that  
8 we're doing. We have access to operating procedures and  
9 information on commercial nuclear power plants, but we don't  
10 have a formal "ask a utility" a question type of process. We  
11 do tend to--we go through NEI on occasion, and do those types  
12 of things to get their feedback and solicit their input.

13 PETROSKI: Do you think there could be improved  
14 interaction?

15 SLOVIC: You know, it's always better to make a decision  
16 in an information-rich environment.

17 PETROSKI: What about--have you considered that in much  
18 detail yet? For example, what would be the implications of  
19 some upset conditions on your group--would have implications  
20 for all sorts of other things?

21 SLOVIC: Give me an example. If I get more than 10  
22 percent fuel?

23 PETROSKI: Excuse me?

24 SLOVIC: If I get more than 10 percent uncanistered  
25 fuel, is that--

1           PETROSKI: No, no, I'm thinking about situations like  
2 something is not supposed to tip over.

3           SLOVIC: It tips over?

4           PETROSKI: It tips over.

5           SLOVIC: Yeah, that's a major impact on the throughput.  
6 We have to recover from that event, and we're planning on  
7 recovery actions for those postulated events. But, that  
8 recovery in this case means termination of the event  
9 sequence, not necessarily how we're going to pick everything  
10 up and decide what went wrong and what we have to fix and  
11 what we have to change. So, we're not into that level of  
12 detail at this point. If one of these events occurs, that  
13 particular facility is probably shut down for a while.

14          ARNOLD: Okay, Mark?

15          ABKOWITZ: Abkowitz, Board.

16                 I'd like to follow up on Henry's last comment about  
17 throughput.

18          SLOVIC: Yes, sir.

19          ABKOWITZ: Take it from a slightly water perspective.  
20 You made the comment earlier that you're planning from the  
21 standpoint of a 25 year receipt period, I believe you said.

22          SLOVIC: Correct.

23          ABKOWITZ: And, a 50 year emplacement period.

24          SLOVIC: Correct.

25          ABKOWITZ: So, on average, how many canisters are you

1 anticipating coming into the facility each year, and how many  
2 do you actually see being emplaced?

3 SLOVIC: The emplacement is set by the number of  
4 canister receipt and closure facilities that we have. If we  
5 have all three in operation, we can match. Round numbers, we  
6 get about 500 casks a year to get the 3,000 metric ton  
7 commercial fuel requirement. Approximately 340 containing  
8 TADs, and the balance containing Naval SNF, DOE SNF, or HLW.  
9 And, we have a requirement now, we have to match an  
10 emplacement. For every five waste packages of commercial  
11 fuel we emplace, we emplace two of DOE or other. So, we're  
12 anticipating that while we will receive--the requirement is  
13 for receipt of commercial fuel. So, we'll receive that 3,000  
14 tons into 63,000 is 21 years we can receive it all with that  
15 full capability. And, we have that capability with the WHF,  
16 CRCF one, and receipt facility. But, we don't have a  
17 matching emplacement capability until we build the second and  
18 third CRCFs.

19 ABKOWITZ: So, right now, you have 500, just in ballpark  
20 numbers, you have 500--

21 SLOVIC: Casks.

22 ABKOWITZ: Canisters coming in and--

23 SLOVIC: 500 casks. Some of them are multiple  
24 canisters.

25 ABKOWITZ: And, roughly, until the other facilities are

1 built, roughly the ability to put 200 in the mountain at any  
2 given year?

3 SLOVIC: 160, that order.

4 ABKOWITZ: 160?

5 SLOVIC: Well, counting IHF and WHF, 200 a year; right.

6 ABKOWITZ: So, throughput is really governing the design  
7 of the aging pad? You basically have an extremely large  
8 aging pad to accommodate the shipments coming in at a much  
9 faster rate than you can emplace them.

10 SLOVIC: There's only about a two year difference in the  
11 current schedule between completion of the receipt facility  
12 and completion of canister receipt and closure facility two.

13 ABKOWITZ: So, once you get two up on line, then the  
14 differential--

15 SLOVIC: Then we go to 320, and then we can--we're  
16 getting close.

17 ABKOWITZ: Well, 320 is still a long ways away from 500.

18 SLOVIC: Correct.

19 ABKOWITZ: So, a very critical element to the surface  
20 design, surface facility design, is to have a fairly  
21 extensive aging pad for the purpose, not so much of aging as  
22 it is that you can't manage the throughput relative to what's  
23 coming into the system. And, that's being purposely designed  
24 that way as opposed to expanding the capacity of the  
25 throughput of the facilities?

1           SLOVIC: It's just a question of how fast we can put the  
2 building on line. We're talking full capability in, I  
3 forget, is it 2022, so it's essentially seven years after we  
4 start, or 2023, somewhere in there. We'll have three CRCFs,  
5 and we could match emplacement. But, at that point, it's  
6 not--it's the thermal--his favorite topic--it's the thermal  
7 requirements. If we're receiving fuel that they're shipping  
8 to us at 25 kilowatts, we have to wait until it's 11.8 under  
9 current conditions before we can emplace it. So, we  
10 probably, and if you look at emplacing all of this 11,000  
11 waste packages in 50 years, you're about 220 waste packages a  
12 year, so you need two CRCFs to meet your emplacement  
13 requirements.

14           ABKOWITZ: And, then, if you encounter an upset  
15 condition along the lines of what Dr. Petroski mentioned,  
16 that could take a facility out of commission for an extended  
17 period of time, which would essentially shut down its  
18 throughput capacity.

19           SLOVIC: For that particular facility, yes.

20           ABKOWITZ: Okay. And, you're comfortable with the  
21 margin for error that you have in this system? Because it  
22 seems to me that you've got a very significant bottleneck  
23 already built into the design, and if you have any other  
24 upset conditions, you've got a large quantity of material  
25 coming in that's just going to be going out to pads where you



1 may be capacity constrained, and you also have faults out  
2 there that you've got to be worried about. Am I on target  
3 with the logic here?

4 SLOVIC: I don't think that's--I don't know if that's a  
5 question that I--if I gave you an answer, it would just be my  
6 personal opinion. I think that's better directed at DOE than  
7 I.

8 ABKOWITZ: And, all of those considerations would  
9 theoretically go into a comprehensive preclosure safety  
10 analysis, I would assume?

11 SLOVIC: Yes.

12 ABKOWITZ: Thank you.

13 ARNOLD: Ali?

14 MOSLEH: Mosleh, Board.

15 So, that's actually very close to what Dr. Abkowitz  
16 just asked. I understand, obviously, the safety analysis  
17 would have to rely on the design. But, do you get any formal  
18 routine feedback from the safety analysis, operational and  
19 safety?

20 SLOVIC: The preclosure safety analysis?

21 MOSLEH: Right.

22 SLOVIC: Yes, we sit with each other and we interface  
23 all the time, and it is formal, informal. To set aside our  
24 deterministic hats for this particular job, under the Rules  
25 of Part 63, it's not prescriptive of how we do anything. So,

1 we've chosen to use industry standards where appropriate,  
2 because it's familiar to the NRC and we've done it in the  
3 past, and these are acceptance standards. But, we've done--  
4 Dr. Frank, did you want to answer this?

5 FRANK: All of these questions are good, and it is the  
6 case that a thorough final throughput ought to be  
7 established, including off-normal accident events. But, I  
8 want to put this in perspective. The real events that will  
9 shut down the facility for a while are those that breach a  
10 canister. And, we're progressed well enough along with our  
11 risk analysis, which we're terming preclosure safety analysis  
12 here, to know that those are rare events, well below the  
13 threshold of considering them expected during the lifetime of  
14 the facility.

15 So, I think at the end of the day when you add up  
16 the--if you were to add up the frequency of all such events,  
17 you'd find a very small impact on throughput, just because  
18 it's a low probability, and the sum of the event sequences  
19 would be relatively low.

20 ARNOLD: Andy?

21 KADAK: Yes, I'd like to follow up on the throughput  
22 question. But, more with the DPC handling facility, the wet  
23 facility. I think, as I remember the numbers, they were like  
24 2,000 or so potentially DPC type casks available, or will be  
25 available by 2017, or so.

1 SLOVIC: 17,000 metric tons, or something.

2 KADAK: Yes. 2,000 canisters, that's probably easier to  
3 deal with than a ton.

4 SLOVIC: Okay.

5 KADAK: What's your processing rate for those, assuming  
6 you're going to accept them through that wet handling  
7 facility?

8 SLOVIC: Without having truck casks in the mix, we can  
9 do, we estimate we can do 40 to 45 a year. One a week  
10 basically.

11 KADAK: One a week, okay.

12 SLOVIC: Because we assume 75 percent availability, so  
13 25 percent down time for maintenance and other operations.

14 KADAK: Okay, thank you.

15 SLOVIC: So, that's, technically that's 2,000 in 50  
16 years if we operate the facility for that long.

17 ARNOLD: I have a little question resulting from our  
18 visit to INEL, where we saw that operation you talked about.

19 SLOVIC: Yes, sir.

20 ARNOLD: There was some discussion as to whether the  
21 helium was actually necessary at all. Do you have any  
22 insight on that?

23 SLOVIC: I know that the postclosure people are  
24 investigating that. I don't think they have come to a final  
25 conclusion as to whether or not that's needed or not.

1 Remember, when we originally envisioned the system, we were  
2 loading individual fuel assemblies into a basket inside of a  
3 waste package. So, it was a different scenario. But, now  
4 with the TAD inerted with helium, it's just a small volume  
5 between the TAD canister and the waste package inner vessel.  
6 But, I don't have a specific answer for you on that.

7 ARNOLD: that will be resolved?

8 SLOVIC: It will be resolved; right.

9 ARNOLD: Question for Dave Diodato.

10 DIODATO: Diodato, Staff.

11 Thanks for your presentation. Just for a point of  
12 clarification, you mentioned that your aging pads would have  
13 a capacity for about 2,500 spaces, for 2,500 TADs each. So,  
14 how many aging pads are you going to have all together in  
15 your design right now?

16 SLOVIC: Right now, there are two different designs, but  
17 each one is made up of multiple smaller pads, so that if the  
18 situation changed in the future and we didn't need to build  
19 them all, and we intend to build them in series so that we  
20 don't build ones we don't need.

21 DIODATO: Okay. So, you're going to then in either  
22 design, you have 2,500 spaces total of aging pads?

23 SLOVIC: Correct, between the two pads.

24 DIODATO: Okay. So, you have two pads that can each  
25 hold about 10,000 metric tons for storage?

1           SLOVIC: They're a slightly different size. I'd have to  
2 go look at the numbers, but they're not quite equal in size.

3           DIODATO: But, your total capacity is still going to be  
4 about 21,000 metric tons?

5           SLOVIC: Right, we assume that on average, a TAD would  
6 have about 8 ½ metric tons in it. So, 2,500 tons times 8 ½,  
7 obviously, it would be licensed for 21. So, if we had a  
8 significant number of DPCs, which have more metric tons in  
9 them, then we would have to limit it to the metric tons, and  
10 not necessarily the actual numbers.

11          DIODATO: Are those aging pads shown on your--

12          SLOVIC: They are not on this particular model. They're  
13 actually--and, I didn't show them because the mechanical  
14 model has been updated to reflect the revised aging pad, but  
15 the structural hasn't, so you looked at them, it was very  
16 confusing as to what it is. But, they're approximately a  
17 mile to the north of--

18          DIODATO: Joyce Dory is sitting by an aging pad right  
19 now.

20          SLOVIC: Not quite over there, but they're about a mile  
21 north of CRCF three.

22          DIODATO: All right, thank you.

23          ARNOLD: Thank you very much, Bob. John, do you want to  
24 stay to the original schedule for coming back from lunch, or  
25 do you want to advance it?

1           GARRICK: Well, I've been thinking about that, and I  
2 think that we'd run into a problem in changing the schedule  
3 because some people don't attend the morning session, and  
4 attend the afternoon session, and I think that we're probably  
5 obligated to stick to the schedule that was announced. So, I  
6 think we will stick to it. So, we'll have an extended lunch  
7 time. 1:45 is what the agenda says. So, we will, unless  
8 there's further questions, we will adjourn until that time.

9                   (Whereupon, the lunch recess was taken.)

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25



1 respect to the surface facilities. And, when I talk about  
2 different approaches, even within the agencies, there's  
3 different approaches. The NRC, for example, is a risk  
4 informed oriented agency, but there, there's variation in  
5 where and when they use probabilistic based analyses, and  
6 they've developed other types of approaches, such as the  
7 integrated safety analysis approach, the margin analysis that  
8 I referred to earlier, and then, of course, the PRA based.

9           We're going to have somebody tell us a little bit  
10 about what's going on for this facility, and I understand  
11 it's kind of a mix of what has come out of the integrated  
12 safety analysis, the thought processes, and what's come out  
13 of the PRA processes. So, we'd like to have Mike Frank tell  
14 us a little bit about the general framework of the PCSA,  
15 preclosure safety analysis, how they structure and aggregate  
16 the associated scenarios, and implement the kind of scenario  
17 based approach to safety analysis, the approach that they're  
18 taking to importance rank scenarios, and to draw a very sharp  
19 distinction between what the risk assessments say is  
20 important to safety and what the regulations tend to say are  
21 things that are important to safety. And, then, finally, I  
22 hope Mike tells us a little bit about the actual nuclear  
23 design basis for safety.

24           Mike Frank is a consultant. He's with BSC now, I  
25 guess, and I have good knowledge of some of his background,



1 as he was part of a team that I worked with for many, many  
2 years, as was Ali Mosleh. So, I'm looking forward to hearing  
3 what he has to say. Mike?

4 FRANK: Thank you, John.

5 Sometimes there are technological solutions that  
6 require sophisticated digital controllers, and of course then  
7 there's the shoe-leather solution, and in this case, the  
8 shoe-leather solution is going to work for this presentation.

9 Next slide? As John alluded to, this is a  
10 presentation in four parts. One is going to talk about sort  
11 of the conceptual framework for the preclosure safety  
12 analysis, which uses probabilistic risk assessment  
13 technology, the scenario based approach, in fact. Then, I  
14 want to talk about what the appropriate level of aggregation  
15 is for event sequences in the PCSA. And, that's a topic that  
16 is derived directly from the way the regulation is written.  
17 Then, I'll talk about our approach to identifying what is  
18 important to safety. And, again, it's derived directly from  
19 the words in the regulation for important to safety. And,  
20 then, I'll talk about nuclear safety design basis, and that  
21 may not be a phrase that most people are familiar with.  
22 Basically, what that means is a quantitative probabilistic  
23 set of numbers, such as the reliability of an ITS piece of  
24 equipment, that we need to meet in the design in order to  
25 make our compliance case to the nuclear regulatory

1 commission.

2           Next? Quite a few years ago, 1991, a colleague by  
3 the name of John Garrick and another one by the name of Stan  
4 Kappen, introduced this concept of the risk triplet as a  
5 basis for a scenario based risk assessment. And, they set it  
6 out on the basis of three questions. What can go wrong?  
7 And, you answer that question by developing a set of  
8 scenarios of things that can go wrong. And, these are  
9 detailed scenarios that actually get down to the equipment  
10 level, what can go wrong with pieces of equipment, hardware,  
11 and what can go wrong with the people who operate them, what  
12 errors the people might make in operating equipment. So, it  
13 is very much an engineering based approach to safety  
14 analysis.

15           How likely is it? And, the answer to that is  
16 determined in several ways. One by historical records,  
17 compilations of available evidence, including historical  
18 records, probabilistic engineering analysis, like our seismic  
19 fragility work, or our structural reliability work, and also  
20 the judgment of experts. You answer how likely is it in  
21 another way, too. In some cases, the data one has, or the  
22 information one has from historical records doesn't  
23 necessarily match directly with the large pieces of equipment  
24 or processes you have, and, so, there's a breakdown process  
25 or a disaggregation process usually using false reason in

1 risk assessment, in which one maps the thing that can go  
2 wrong, down to disaggregating that into sublevels and  
3 components to the place where you actually have historical  
4 records. And, to be part of a real risk assessment, we all  
5 recognize that these are event sequences that may or may not  
6 happen in the future, and since we're not good at determining  
7 what is going to happen in the future, few of us have crystal  
8 balls, uncertainties are an established and essential part of  
9 a risk analysis.

10           The last part of that triplet is the question what  
11 are the consequences. And, you first have to ask the  
12 question what are consequences--which consequences are  
13 important? What do we need to know in order to make our case  
14 to the Nuclear Regulatory Commission? And, in this case, it  
15 is such things as dose to off-site public, dose to on-site  
16 workers and public, and criticality. So, in a non-regulatory  
17 environment, the consequences of interest are defined by the  
18 decision-maker, the one who has to make a decision about  
19 whether or not it's safe enough or good enough or practical  
20 enough to go forward. In this case, the regulatory agency  
21 has to make a regulatory decision about compliance. So, in  
22 effect, they are the decision maker. So, our analysis is  
23 geared toward regulatory compliance.

24           This last point is that this definition of risk, or  
25 the risk triplet, is a good operational definition, in that

1 it is a synopsis of how we actually are doing the PCSA.

2           Next slide? This is quick for review. I think  
3 most of you are familiar with event sequences, and for those  
4 who are not, I'm going to do this quickly. They're composed  
5 of something that can go wrong initially, a perturbation from  
6 normal operation called an initiating event. The facilities  
7 and equipment and people respond to that initiating event in  
8 a certain way, and, so, there's a set of events that  
9 represent the system, facility and human response. And,  
10 then, there's the end states of interest, which are--it's  
11 another term for consequence of interest, in this case.

12           Next? This one chart is actually a summary of the  
13 event sequence development that we're doing for the  
14 preclosure safety analysis. You start with detailed  
15 knowledge, and that obtaining knowledge about the design  
16 continues in this process, in the YMP, throughout the design  
17 effort. And, the reason is that we are actually conducting a  
18 risk informed design process, where information about the  
19 design as it evolves is fed back via our risk models into the  
20 design, so that at the end, there's convergence. We know  
21 that there is a design that in fact meets the requirements  
22 we're setting.

23           The next step in developing event sequences, one  
24 starts then with this detailed knowledge of everything you  
25 can about the facility, structures, operations. One develops

1 a top down logic called the master logic diagram, which  
2 starts with, at the top, the end state of interest, say  
3 release of radionuclides, and breaks down into ever  
4 decreasing levels of--I'm sorry--increasing levels of detail,  
5 breaks down to a point where one might start identifying  
6 appropriate initiating events at the level of equipment,  
7 which is the level that we want to get to, equipment that  
8 goes wrong.

9           In this study, we're supplementing this top down  
10 approach with what's called a hazard and operability study,  
11 which is derived from the chemical process industry, this is  
12 a process that's been around since the 1960's, in looking at  
13 in a very detailed way line by line through drawings,  
14 specific ways in which the process depicted in the drawing  
15 can go wrong. And, this is, one can call that a bottom  
16 bottom, or a bottom up. It's really a bottom level analysis,  
17 and it feeds, since it deals directly with pieces of  
18 equipment, it feeds directly to the levels associated with  
19 initiating events.

20           We're also looking at external events, that is,  
21 things that happen outside by nature, earthquakes and  
22 lightening strikes and windstorms and floods, and we go  
23 through an analysis process on that. I'm not going to  
24 emphasize that in this talk.

25           The scenario approach is depicted here by taking

1 the initiating event, which is this bubble, and these boxes  
2 here represent pivotal events, which is how the system  
3 responds, and the diamonds represent end states. And, so we  
4 have--and, in this study, we're going to have probably a  
5 couple hundred of these types of diagrams in order to capture  
6 the array of initiating events, and system responses.

7           As I mentioned in the previous slide, we support  
8 the quantification of these events, that is, the probability  
9 of an event, by fault tree analysis, and that itself is  
10 supported by historical records. And, we're using in this  
11 study industry-wide, multiple industry-wide records of actual  
12 equipment failures, field failures, and these are readily  
13 available in actually published compilations.

14           At the end of this analysis, and all this stuff is  
15 done using uncertainties and these little squiggly lines here  
16 are supposed to represent probability distributions, which  
17 represent uncertainties in the estimates of equipment  
18 failures, failure probabilities. And, at the end, you get  
19 results that are expressed also in uncertainties. In this  
20 slide, for ease of, just ease of drawing, I depicted  
21 uncertainties as a band. Mathematically, that's the  
22 probability distribution as well.

23           Next slide? Okay, now a discussion about what the  
24 appropriate level is at which one takes a look at event  
25 sequences.

1           Next slide? In nuclear power plant probabilistic  
2 risk assessments, the first end state of interest is called  
3 core damage. And, one obtains a frequency of core damage,  
4 which is the sum of all the event sequences, probabilities,  
5 that--all the event sequence frequencies leading to core  
6 damage. So, you have one metric, and it's core damage, and  
7 one core damage for that kind of PRA, and you have a  
8 summation of all event sequences that lead to core damage,  
9 and that is one measure of risk.

10           We have a slightly different situation here,  
11 because the regulation delineates different categories of  
12 event sequences. And, I want to go through that. Category  
13 1, which is expected during the preclosure period, which is  
14 nominally 100 years, and that is, therefore, it will occur  
15 one or more times over the preclosure period, that's Category  
16 1 event sequence. Such event sequences are aggregated, on-  
17 site dose is aggregated as a yearly dose and compared to 10  
18 CFR 20 limits. So, that's one metric for acceptability and  
19 compliance for Category 1 event sequences.

20           Category 1 event sequences for off-site dose at the  
21 site boundary are also aggregated as a yearly dose, and  
22 compared to 15 millirem per year.

23           Category 2, which is not expected to occur over the  
24 preclosure period, but has a frequency of occurrence greater  
25 than 10 to the minus 4 over that period, those event

1 sequences are categorized one at a time on the basis of  
2 probability only, not on the basis of risk, which would be  
3 the cumulative expected consequence of all scenarios. Off-  
4 site dose for each Category 2 event sequence is to be  
5 calculated and compared to the dose performance goal at the  
6 site boundary of 5 rem. On-site dose is not required to be  
7 calculated, again, for this compliance oriented analysis.

8           The regulation also states that there has to be  
9 provision to prevent and control criticality. We're  
10 interpreting that as meaning that for all Category 1 and 2  
11 event sequences, there should be no criticality, nothing  
12 greater than the K effective defined by the upper safety  
13 limit.

14           If we find event sequences that are beyond Category  
15 2, that is, less than  $10^{-4}$  over the hundred year  
16 preclosure period, then there is no consequences need be  
17 evaluated, in accordance with our interpretation of the  
18 regulation.

19           Next slide? Now, here's the dilemma. The more  
20 detailed I define an event sequence, the lower I can force  
21 the probability of that event sequence. If I aggregate to  
22 the higher level of, that is, if I take and aggregate very  
23 high, then I can--the probability of that event sequence will  
24 raise. We don't have that problem if you sum all the event  
25 sequences. It's not an issue because it doesn't matter at



1 which level one divides things out. You add them all up  
2 anyway. But, here, you have that issue.

3           So, what do you do? There is no guidance in any of  
4 the literature that we've seen on this. So, here is an  
5 example of what I mean on level of aggregation. Should a  
6 single event sequence include all drops from cranes of all  
7 canisters from all possible sources in the facility, all  
8 cranes in the facility? I can certainly define a  
9 perturbation on the system that says my perturbation is any  
10 drop anywhere, and add up the contribution from all potential  
11 locations. Or, should there be more resolution with respect  
12 to sources of the drop, the facilities, and the canister  
13 types?

14           Again, I said before if I were performing a risk  
15 informed analysis approach, and the decision you make here is  
16 very important, because it governs the reliability  
17 requirements of the ITS, important to safety, systems,  
18 structures and components that are derived from the event  
19 sequences.

20           Next? So, we thought about this quite long and  
21 hard, and we came down to the conclusion that the overriding  
22 criterion for making this decision would be accuracy of our  
23 representation. We want a PCSA that is at the level that we  
24 believe best represents the operation facility and the  
25 variation in operations across buildings and from one room to

1 another in the facility. That was our governing criterion.

2           And, so, here's an example of what that governing  
3 criterion led us to do. We divide things up into different  
4 event sequences because of variations in the facility  
5 configuration and operations. This would lead to different  
6 challenges, that is, how high one lifts a canister, for  
7 example, the number of lifts one has, and the residence time  
8 within the facility of having a canister in a particular  
9 location in a facility. That latter one is important for,  
10 dare I say it, earthquake events, earthquake event sequences.  
11 There's different kinds of seismic restraints associated with  
12 different times or different locations in the building.

13           There are also variations warranted in event  
14 sequences, that is disaggregation of event sequence warranted  
15 because equipment is different over different facilities.  
16 Some equipment is similar across buildings, but ultimately,  
17 the complement of equipment for each facility is different.

18           There is also ramifications with respect to the  
19 waste form, PWR, BWRs, DOE spent nuclear fuel, et cetera, and  
20 the containers that they're in. There's variations in  
21 robustness over different casks and canisters, and there are  
22 variations in source terms because of the different fuel  
23 forms. So, we need to account for those differences in our  
24 event sequences.

25           So, a drop in the transfer cell is not the same

1 event sequence as a drop of a canister in the receipt and  
2 preparation area. And, it's not the same as a possible tilt-  
3 down when the waste form is in a waste package at the other  
4 end of the facility. These are all different event  
5 sequences.

6           So, we concluded that event sequences should be  
7 disaggregated to represent different waste processing  
8 functions, different waste forms and containers, and  
9 different facilities. And, what I mean by processing  
10 functions, this is the processing functions that Bob Slovic  
11 walked you through earlier.

12           Next? Here's an example of what an event sequence  
13 might look like when our study is done. And, those of you  
14 who are familiar with risk assessment may see a portion of  
15 this that is slightly unfamiliar to you, and I'm going to  
16 explain that. This is our initiating event. These are our  
17 sub-initiating events, which are major contributors to this  
18 initiating event here. And, this represents what we think is  
19 the appropriate level of aggregation to proceed through the  
20 event sequence and perform and develop our frequencies of  
21 event sequences at this level.

22           Fault trees are typically developed for initiating  
23 events in our analysis, because these represent actual pieces  
24 of equipment failing, and in this analysis, instead of one  
25 fault tree, we decided to illuminate the major contributors,

1 the next level down, of aggregation, I should say, to this  
2 level, just by putting it on the event sequence diagram.  
3 And, this is strictly for elucidation purposes. I think it  
4 just helps to follow the analysis.

5           You're going to see these numbers here. These set  
6 of numbers refer to this particular circle, transportation  
7 cask dropped, and those relate back to the master logic  
8 diagram. So, we can trace the flow of information from the  
9 master logic diagram into the initiating event sequence  
10 diagram.

11           Proceeding along, after the initiating event, this  
12 set of pivotal events here in the square boxes is the system  
13 response, and we categorize that in this way. If there is an  
14 impact on the transportation cask, we want to know if the  
15 transportation cask remains intact. If it does, then there's  
16 a possibility that its shielding function might be  
17 compromised. If not, we want to know if the--if the cask  
18 does not stay intact, the next level of question is whether  
19 or not the canister inside stays intact.

20           Why is this important? Well, when the waste form  
21 arrives in our facility, in the YMP facility, then there are  
22 two levels of containment. One is a welded steel canister,  
23 and one is a transportation cask, which is bolted on the top.  
24 These are two levels of containment, and, so, in order to get  
25 a release, you have to violate both levels of containment.

1           If you do, in fact, get a release, then we ask  
2 about the confinement function of the important to safety  
3 HVAC system surrounded by the building, and we also further  
4 ask questions that relate to whether or not, for commercial  
5 spent nuclear fuel in this case, there is moderator present.  
6 Our preliminary criticality work is indicating that without  
7 introduction of moderator in these canisters, into the  
8 canister, there cannot be a criticality, so that's an  
9 important question.

10           Next? Okay, so that's a summary of where we are  
11 with respect to the approach we're taking for the actual  
12 analysis. Now, I'm going to spend a little bit of time  
13 talking about important to safety, what constitutes important  
14 to safety for this regulation.

15           This is right out of the regulation, important to  
16 safety, with reference to structures, systems, and  
17 components, means those engineered features of the repository  
18 whose function is to provide reasonable assurance that high-  
19 level waste can be received, handled, packaged, stored,  
20 emplaced, and retrieved without exceeding the requirements of  
21 63.111(b), which is for Category 1 event sequences. And, I  
22 pretty much went over what that is in the previous slide.

23           And, ITS function is also to prevent or mitigate  
24 Category 2 event sequences that could result in exceeding the  
25 values of 5 rem at the site boundary.

1           Next? So, we deduce from this that an SSC is  
2 classified as ITS if it appears in an event sequence, that  
3 definition in the regulation only refers to event sequences,  
4 and at least one of the following criteria apply. The SSC is  
5 relied upon to reduce the frequency of an event sequence from  
6 one category to the next. So, for example, we could apply  
7 reliability improvement measures to the HVAC and to the  
8 cranes to reduce a coincident breach and loss of HVAC to  
9 beyond Category 2. We can work to that design requirement.  
10 And, in fact, that's what we do.

11           Next? The next criteria that defines what's ITS is  
12 that an SSC is relied upon to reduce the aggregated dose of  
13 Category 1 event sequences by reducing the event sequence  
14 frequency. So, when we identify places in which people can  
15 have a direct exposure within the facility, we put in design  
16 features, like interlocks on shield doors and on crane or  
17 canister transfer machine slide gates, on the TEV, which  
18 takes the waste packages from the buildings down to  
19 emplacement.

20           An SSC is ITS if it's relied upon to perform a dose  
21 mitigation or criticality prevention function. Canisters and  
22 casks are ITS because they serve as a containment, which is  
23 clearly dose mitigation. HVAC is ITS because it is part of  
24 confinement. And, the staging racks in the WHF pool are ITS  
25 because they are required to ensure adequate separation of

1 fuel assemblies within the pool.

2           Next? So, having talked about what are criterias  
3 for important to safety components, let me talk a little  
4 about how we derive the requirements for them, the nuclear  
5 safety design basis. These requirements, unlike normal  
6 engineered--in addition to the normal engineering  
7 requirements one usually sees in developing a design such as  
8 thou shalt meet ASME boil and pressure, section such and  
9 such, or in designing structures, thou shalt perform your  
10 analysis in accordance with ASC 4503, there is also an  
11 additional set which pushes a design toward being compliant  
12 with the regulations that are in 10 CFR 63. And, those are  
13 called the nuclear safety design bases. And, these are  
14 derived in part from the PCSA. They're derived in whole from  
15 insights from the PCSA, and they have the--and, these nuclear  
16 safety design bases have the form as follows.

17           We define the safety function of the particular ITS  
18 piece of equipment. It's not just the crane is ITS. What's  
19 ITS about the crane is preventing it or reducing the  
20 probability of drops. So, that function of the crane is ITS.  
21 And, so, those portions of the crane that deal with that  
22 function are provided a reliability. You've got the  
23 probability of violating that function should be less than a  
24 number that we specify. Nuclear safety design bases are  
25 specified for each ITS SSC to ensure that they perform that

1 function in compliance with the regulation.

2           Next? So, we have nuclear safety design bases of  
3 the--that reads kind of like this. The mean frequency of  
4 some ITS SSC failure on demand is, and you state a number.  
5 For normal running equipment, like HVAC, heating and  
6 ventilation, the reliability usually depends on inspection  
7 and maintenance intervals, so we specify an inspection and  
8 maintenance interval that is part and parcel of the  
9 calculated reliability.

10           Another one may read such as the mean  
11 unavailability of some ITS SSC over some time period "Y" is,  
12 and you give a number. Or, we could say the mean frequency  
13 of some earthquake-induced event sequence is, and you give a  
14 number, probability number.

15           So, that's the nature of a nuclear safety design  
16 bases, how we're working backwards back to the presentation,  
17 how we look and how we define what is ITS, how we, at what we  
18 think is the appropriate level of aggregation or  
19 disaggregation of event sequences, and the general PCSA  
20 approach.

21           And, that's my prepared remarks.

22           GARRICK: Okay. Yes, questions from the Board? Mark?

23           ABKOWITZ: Abkowitz, Board.

24           First of all, I appreciated the presentation, and I  
25 do think that the overall approach that you're proposing is a



1 sensible one. That's the easy part, however. The hard part  
2 is populating it. And, there are a few things that I wanted  
3 to bring out. Some have to do with the time frame and  
4 process for doing that, some of it has to do with the actual  
5 technicality of doing that.

6           The first thing I wanted to ask is the scope of  
7 this analysis, because I think it's been made clear in the  
8 past, and it still appears to be the case, that the  
9 preclosure safety analysis from the standpoint of the  
10 Department of Energy is that it starts at the fence line of  
11 the surface facility design. Is that still the case?

12           FRANK: Yes.

13           ABKOWITZ: So, any risk that may be taking place during  
14 the waste acceptance and transportation phases, are basically  
15 considered to be a wash amongst all the different scenarios,  
16 design scenarios and operating scenarios that are being  
17 considered for the surface facility and for emplacement  
18 operations; is that correct?

19           FRANK: We're taking the approach that is consistent  
20 with all of the nuclear power plant risk assessments that I  
21 think that's ever been done, is that our initiating events  
22 begin within the fence line of the YMP. We are not  
23 considering at this time initiating events that begin outside  
24 the boundary.

25           ABKOWITZ: But, do you not agree that this is a

1 different type of problem. In those other scenarios,  
2 everything occurs within the fence line of the nuclear  
3 facility. In this case, it's an integrated waste management  
4 system. That's a message that's being delivered to us more  
5 often lately, and the integrated waste management system for  
6 preclosure operations, as I would understand it, starts at  
7 waste acceptance and ends at emplacement. Is that not the  
8 case?

9 FRANK: Well, I told you what we were doing. The  
10 premise in your question is that this is a different  
11 situation, and I think I'm going to differ with that a little  
12 bit. In all the risk assessments I've been associated with  
13 or know about, and that's both at NASA and in the nuclear  
14 power business, there is always this lingering doubt that one  
15 has about the perfection of equipment that's delivered. So,  
16 a reactor vessel in a nuclear power plant is analyzed in the  
17 risk assessment as if it were delivered per its codes and  
18 standards, and it performs as it's supposed to perform.  
19 That's pretty much always an initial condition, and we  
20 haven't departed from that.

21 ABKOWITZ: Okay. So, I'm to believe then that following  
22 this line of thinking, if there's two or three different  
23 design and operating strategies for handling materials at the  
24 surface facility and emplacement, and one of those scenarios  
25 triples the exposure of handling to workers at a utility site

1 compared to another one, in the preclosure safety analysis,  
2 they will both come out as being of equivalent safety; is  
3 that correct?

4 FRANK: We're just not going there. We're not handling  
5 that.

6 ABKOWITZ: Right. But, you are agreeing with what I'm  
7 saying; correct?

8 FRANK: That's correct.

9 ABKOWITZ: Those two scenarios would be considered  
10 equally safe from the standpoint of the preclosure safety  
11 analysis?

12 FRANK: That's a hypothetical, because--

13 ABKOWITZ: No, it's not a hypothetical.

14 FRANK: No, it's a hypothetical because we were given a  
15 specific set of boundary conditions associated with  
16 processing up to the site, and we worked the PCSA with that  
17 specific set of boundary initial conditions. So, then, you  
18 asked a question if there was a second one, would the PCSA be  
19 the same, would the results be the same. If there were a  
20 second one, and we were given the second set of boundary  
21 conditions to consider, then we would consider the  
22 differences associated with the boundary conditions. That  
23 isn't the scope we were given.

24 ABKOWITZ: Your boundary conditions start at the  
25 boundary of the fence line of the surface facilities; is that

1 right?

2 FRANK: That's a true statement.

3 ABKOWITZ: Okay, thank you.

4 GARRICK: Ali?

5 MOSLEH: Mosleh, Board.

6 Mike, let's follow up on this issue of what's  
7 included and what's not, and particularly initiating events.  
8 And, I know that you've had discussions in the context of  
9 nuclear, and also space station work that you have done.  
10 That one needs a method basically to ensure that your  
11 coverage is adequate for initiating it. So, for, say, a  
12 nuclear power plant, the top event of the master logic  
13 diagram is a heat balance basically?

14 FRANK: That's one way of doing it, yes.

15 MOSLEH: Yes, as a method. And, now, here you have  
16 proposed, or you're actually doing this based on a hazard and  
17 operability, a list. How do we know that that list includes,  
18 it's comprehensive?

19 FRANK: First of all, we can retrieve that viewgraph,  
20 but we're using two methods and merging them. The first  
21 method is a master logic diagram, where we start with the end  
22 state, like radionuclide release. And, we work our way  
23 functionally through the system design to determine what  
24 failure, ultimately, failure modes of major pieces of  
25 equipment contribute to that.

1           There's a second method one can go about doing it,  
2 and the second method, HazOp, does not rely on a list. We  
3 actually take what you would call PNIDs in nuclear jargon,  
4 and work through the PNID process by process, asking the  
5 typical guide words, HazOp questions, answering them, writing  
6 down the deviations, writing down causes, writing down  
7 consequences, and seeing if that other method of doing it  
8 matches up well with our top down master logic diagram. And,  
9 where it doesn't match up well, we reconcile the two. We add  
10 from the HazOp to the MLD.

11           MOSLEH: Okay. I thought that you were replacing it by  
12 the hazard, but it's a complement.

13           FRANK: Yes.

14           MOSLEH: Now, then, this list includes external  
15 initiating events that--

16           FRANK: Oh, yes.

17           MOSLEH: --that could initiate external to the  
18 boundaries of the facility?

19           FRANK: Yes.

20           MOSLEH: I don't know what, a flood would be--

21           FRANK: Or a tornado, for example, might initiate, start  
22 outside and come into the boundary.

23           MOSLEH: Yes. All right, now, the part that I'm a  
24 little bit actually confused about, and I think there is a  
25 logical disconnect between the statement you make on Slide 8

1 as a basis or justification or reason to go to 9, namely just  
2 aggregation or level of decomposition. And, it's a frequency  
3 based argument here that if I disaggregate, if I decompose  
4 further, the frequency of those events becomes smaller and  
5 smaller, until they become zero effectively, because they  
6 become such a unique event for which the probability is very,  
7 very small. But, then, you go on and say like, you know,  
8 because of this, I need to think about how I want to--where  
9 do I draw the line for disaggregation or decomposition, and  
10 you base it on what you call representational accuracy.

11 I thought that the basic kind of approach to  
12 deciding where you would draw the line, in terms of level of  
13 detail, kind of based on, to a very large extent, driven by  
14 the end state, or the consequence of interest. And, that's  
15 the one that basically gives you the anchor point, kind of  
16 defining how far back--for kind of a reference point for your  
17 frequency. And, then, the aggregation, decomposition is  
18 mostly driven by how far do you want to take it in order to  
19 be able to identify causes, and for risk management to see  
20 where you would actually want to focus defenses against this,  
21 not that the frequency will go down. The frequency is  
22 anchored by the consequence.

23 And, the other thing is the data availability. So,  
24 I don't see why this argument of, you know, worrying about  
25 driving the frequencies too low, is a case for maybe actually

1 a better argument that you have, which is the representation  
2 on accuracy.

3 FRANK: Okay. Representation of accuracy is, to my  
4 mind, the overriding argument for selecting a particular  
5 level of aggregation, disaggregation. But, I want to give  
6 you an example of where I think there's a problem if one  
7 disaggregates too low a level.

8 So, I have, for example, a crane and I want to  
9 represent this crane as being composed of multiple  
10 components, all of which contribute to the success of a lift,  
11 and therefore, in the reverse, potential failure modes for a  
12 drop.

13 If I take each individual component and call such  
14 that that component in a crane, the hoist, the support wires,  
15 and I say that becomes the initiating event, I'm at a very  
16 low level, I have extremely small probabilities of  
17 frequencies of failure for hoist, for example. And, that  
18 would lead I think to an erroneous notion of what would be  
19 screened out.

20 If I take failure mode by failure mode of a crane,  
21 its frequencies, I will have, in effect, I think I would be  
22 able to screen out nearly all event sequences such that I  
23 would never have to do a dose calculation, in accordance with  
24 the regulation, because if the probability of an event  
25 sequence is less than 10 to the minus 4 over the preclosure

1 period, I no longer have to do a dose calculation.

2 MOSLEH: Not if your pinch point is the crane failure;  
3 right?

4 FRANK: That is an initiating event, a successful crane  
5 doesn't produce a drop, so I go off to the next initiating  
6 event, yeah.

7 MOSLEH: So, if you base it on what matters, basically  
8 the event of concern, you know, a malfunction that has a  
9 consequence, then your choice of how far you go down in terms  
10 of detail is a matter of, you know, a number of things,  
11 including resources and modeling and things that are--you  
12 know, data availability and other things, but not that  
13 frequencies become smaller. I mean, you don't screen at that  
14 level. You screen it at the level where the event has some  
15 consequence; right?

16 FRANK: Agreed.

17 GARRICK: Okay, I have some questions, but I want to get  
18 the whole Board in, so we're going to have to be reasonably  
19 efficient here. I have Andy, Howard, David and Bill. Andy?

20 KADAK: Yes, thank you.

21 What you've described here is probably a four or  
22 five year process. Now, is this going to be part of a  
23 license application?

24 FRANK: Yes.

25 KADAK: Do you want to amplify?



1 FRANK: Do you want me to amplify?

2 KADAK: Yes. I mean, the analysis to support all of the  
3 failures is not going to be insignificant. And, then,  
4 assigning probabilities to the events is also quite a  
5 challenge. And, even if you get a decent set of event  
6 sequences, then you have all the fault trees to kind of build  
7 up.

8 FRANK: You bet. So, tell that message to DOE and point  
9 out that the BSC is performing a miracle here, because we  
10 have really compressed the normal time period. In doing so,  
11 there are great management challenges to keep everybody  
12 together on the same page within the PCSA as well as working  
13 with engineering. We have a very, very large team. This is  
14 far and away the largest team, by maybe a factor of five or  
15 six or seven, that I've ever had to assemble for a risk  
16 assessment. We have about 60 people just in my area, and  
17 with all of the, including criticality and dose, it's on the  
18 order of 75 people doing this work. So, it is a very, very  
19 large effort with a compressed schedule.

20 KADAK: And, Norm Rasmussen once said you can get 90  
21 percent of the information with 10 percent of the effort.  
22 Have you tried looking at it from that perspective to  
23 identify what Ali was talking about? Where are the risk  
24 significant issues that you should maybe focus in on with  
25 much more detail than trying to cover everything in the

1 detail that you're worried about?

2 FRANK: Okay, first of all, I did not say that we're  
3 covering everything in equal detail. I do believe in a risk  
4 informed approach to a PRA. And, so, yes, things that are  
5 much less important, I'm not, for example, in comparison to a  
6 23 foot drop from a crane, I'm not going to worry too much  
7 about. A collision of a canister into a wall, I'm not going  
8 to put in the same level of effort at all.

9 KADAK: Okay, thank you.

10 GARRICK: Speaking of failures, the hotel warned us that  
11 they're going to do a test of their emergency power  
12 generator, and that we may be in darkness for a few moments  
13 any time now, between 2:00 and 3:00. So, if that happens,  
14 just relax. Wait until the lights come back on.

15 All right, Howard?

16 ARNOLD: My comment is related to Andy's. You told us  
17 how you're going to do it, but we haven't seen any actual  
18 results from your doing it, which raises a question. The  
19 design is proceeding, and if you say well, you know, the  
20 schedule of this is thus and so, but the design gets done,  
21 then you're kind of saying the design--or this is irrelevant  
22 to the actual performance of the design. I think that, in  
23 fact, you've got to present some information to the designers  
24 on a current basis, and I presume that's all paced so they  
25 all come together at the L.A. point, huh, both the design and

1 the safety analysis?

2 FRANK: Let me reorient your paradigm here, because I  
3 think we're doing something a bit different in this process.

4 It's really, the traditional way of thinking about  
5 it is that you have a design and you evaluate the design.  
6 Then, the next level of thinking about it is that you have a  
7 design that takes you to--preliminary, evaluate that, you  
8 give some feedback to the designers, and then you go to the  
9 next level, tier two, or whatever it is, in design, and you  
10 do that again. We're doing this almost continuously, where  
11 at first, insights were given back to the design team based  
12 on judgment. And, then, as the models developed a little  
13 more, we could give them crude order of magnitude estimates,  
14 and then as the models continued to evolve, those estimates  
15 we hope get more accurate, or at least more down to the level  
16 of detail that the design is at. And, yes, we hope at the  
17 end, that it matches up right.

18 ARNOLD: And, the assumption is that when you find  
19 something, it can be fixed by some tweaking of the design?

20 FRANK: Well, I think that's a big advantage of having a  
21 risk assessment, going along right in parallel, in fact,  
22 interwoven with the design. In the surface facilities, we  
23 have that ability, it's just brick and mortar and steel and  
24 we can change that. We know how to design things. So, it is  
25 really just a question of time before it really does all come

1 together.

2 ARNOLD: Any idea of when that comes?

3 FRANK: Well, our stated due date for BSC delivery of a  
4 licensing application, with all supporting analyses done, is  
5 end of February 2008.

6 ARNOLD: Design and a supporting--

7 FRANK: Yes, Bob Slovic said roughly 35 percent of the  
8 design for ITS components, that when the associated PCSA, at  
9 that time.

10 GARRICK: David?

11 DUQUETTE: Duquette, Board.

12 I'm not sure I want to flog a dead horse, or a  
13 dying one, but I'm going to do it anyway. I'm a little bit  
14 concerned about the safety case itself. I'm going to follow  
15 up on what my colleague, Mark Abkowitz, said. We heard this  
16 morning that there would be a time when the facility is being  
17 constructed that there could be almost an excess of material  
18 arriving at the site before it can be properly handled as far  
19 as disposal is concerned, probably would have to be put on  
20 some kind of pads, and so on and so forth. It's during that  
21 period that if anything goes wrong at the site, a crane  
22 failing, some delivery problem, or something like that after  
23 a year or two, that would expose workers at the utility who  
24 may be loading casks for delivery, will all of a sudden, all  
25 the systems will have to be stopped, including trains perhaps

1 on the tracks between the two places, which exposes the  
2 public to a greater risk and exposes the workers at the  
3 utility to a greater risk. You've told us what you were  
4 asked to do, which is keep inside the fence. I'm going to  
5 ask your personal opinion, and ask you if you think that's  
6 reasonable.

7 FRANK: Yeah, in developing an overall safety case for  
8 an integrated process of utility to YMP via interim storage  
9 or not, if one were interested in the overall, as one should  
10 be interested in the overall safety associated with the  
11 entire disposal process, one should look at it all. I agree,  
12 yeah.

13 DUQUETTE: Thank you.

14 HELLSTROM: George Hellstrom, DOE.

15 I just want to make a comment that there is a  
16 separate issue or process that also is going on, that was  
17 also spoke of this morning, in the Environmental Impact  
18 Statement, in the Supplemental Environment Impact Statement.

19 GARRICK: Okay. Bill?

20 MURPHY: Bill Murphy, Board.

21 Are you aware of this event sequence and fault tree  
22 analysis approach being applied to postclosure safety  
23 assessments, or performance assessments for nuclear waste  
24 disposal?

25 FRANK: I am not well-versed in what's going on in

1 postclosure. I wouldn't be the right person to ask.

2 MURPHY: Okay. So, you're not aware of any--

3 FRANK: Oh, I didn't say that. There is, in fact--there  
4 is a--the way I understand it, and, again, I'm not the right  
5 person, but the way I understand it, there's a FEPs analysis,  
6 which is sort of a screening analysis. If it screens through  
7 FEPs, it goes through the complete TSPA. And, my  
8 understanding is that they're, in the FEPs analysis, using  
9 the same tool, sapphire, for event tree, fault tree work,  
10 that we're using.

11 MURPHY: Okay, thank you.

12 GARRICK: Okay, Mike, it strikes me that one of the  
13 things that's going on here is that the team that's doing the  
14 PCSA is trying to please all the schools of safety analysis,  
15 the risk assessment school, the two approaches that the NRC  
16 tends to implement on nuclear facilities, and then, of  
17 course, the DOE approach, and the DOE regulations, and it's  
18 very difficult to do. You know, one of the things that would  
19 be very useful, and it's not clear to me that we'll ever have  
20 an answer to this, is to be able to compare on a common basis  
21 the preclosure risk with the postclosure risk. There's many  
22 people, including myself, that believe that the preclosure  
23 dose risk is probably greater than the postclosure dose risk.  
24 And, it's going to be very difficult to get an adequate  
25 resolution to be able to show where the risk is coming from.

1           I would think that the way the bottom lines would  
2 be, if you could do it, in other words, if you ended up with  
3 a CCDF, complementary cumulative distribution function, on  
4 the preclosure, and compared it with the postclosure, that  
5 the numbers would probably be smaller in the preclosure, but  
6 the uncertainties would probably be much greater in the  
7 postclosure. That kind of information would be very useful,  
8 it seems to me. But, the truth is your scopes are different,  
9 your approaches are different--

10          FRANK: And, the regulation that we're meeting is  
11 different.

12          GARRICK: --and, trying to meet all these regulations  
13 are different as well. One of the things that they're doing,  
14 of course, in the postclosure is assembling all of the  
15 results into integrated and totally aggregated CCDFs. You're  
16 not doing that. You're doing it by categories.

17          FRANK: Yes, that's not part of the compliance case.

18          GARRICK: Right. Right. So, it makes it further--it  
19 further masks what is really going on here in terms of being  
20 able to make comparisons and in terms of being able to put  
21 the puzzle together that characterizes the total waste  
22 management system risk.

23                 And, that brings me to a few specific questions.  
24 The NRC has some interim staff guidance now on things like  
25 seismic, and that interim staff guidance calls for a

1 probabilistic based assessment of seismic events, where you  
2 combine a seismic risk curve with the fragility information,  
3 and get a true risk presentation. Are you going to do that  
4 in this?

5 FRANK: Yes.

6 GARRICK: You're going to follow the NRC's--now, of  
7 course, this is a guidance document, and it's not a rule.  
8 It's just guidance.

9 FRANK: Well, we've elected to perform what amounts to a  
10 seismic PRA, as I am familiar with them from the 1990's to  
11 this day, on nuclear power plants. It's a back ilk  
12 (phonetic) where we're developing a set of fragilities for  
13 key components, and we're convoluting that within event  
14 sequences with a hazard curve, and getting a mean probability  
15 of earthquake initiated event sequences.

16 GARRICK: So, you're not going to do it on a margin  
17 analysis basis? You're really going to do it--okay.

18 FRANK: Yes.

19 GARRICK: This slide that's up there, where it says,  
20 "Should a single event sequence include all drops of all  
21 types of canisters from all possible sources in all  
22 facilities," now, you know, in the PRAs for nuclear power  
23 plants, we don't have that problem, because we take all of  
24 the drops and we categorize the drops. We categorize loss of  
25 coolant accidents. You have a small loss of coolant accident



1 with very specific dimensions and release rates. You have a  
2 medium and you have a large. So, it's a very logical process  
3 that you could apply to that kind of a problem. You  
4 categorize these into manageable initiators in a probability  
5 of frequency format. It just seems to me that trying to  
6 force some probabilistic concepts into the licensing  
7 requirement really compromises the complexity of the  
8 analysis.

9 FRANK: It increases the complexity of the analysis.

10 GARRICK: Yes. That's what I mean. And, one of the  
11 things that was done in some of the early large-scope PRAs,  
12 and you're very aware of that, was a so-called phased  
13 approach, where rather than having 50 initiating events, you  
14 had five or six. But, you make sure those five or six  
15 contain in them the equivalent of the 50. And, you, in a  
16 very short period of time, get a--bouncing off of Andy's  
17 comment, in a very short period time, you'd get a first order  
18 indication of what the risk is. I would think you could do  
19 something like that here. It doesn't sound like that's the  
20 direction you're going.

21 FRANK: Well, I think that was done. I think that sort  
22 of top level risk analysis was done back two years ago in  
23 what was called the CD-1 study. We got those insights, and  
24 it was time to break it down in more detail for this go  
25 around.

1 GARRICK: Okay. Yes, Ali?

2 MOSLEH: What worried me was applying the screening at  
3 almost an arbitrary level, which is controlled by other  
4 guidance other than really a solid PRA. And, I was  
5 wondering, you know, do you really need to screen events out  
6 before you do any analysis?

7 FRANK: I'm sorry. Let me define what screen out means.  
8 In the jargon that we're using, and I apologize if that  
9 wasn't clear, we're calling something that is screened out as  
10 that which an event sequence quantification shows is beyond  
11 Category 2, that is less than 10 to the minus 4, over the 100  
12 year preclosure period.

13 MOSLEH: At the initiator level.

14 FRANK: The whole event sequence, if the initiating  
15 event happens to be there, that low already, then you don't--  
16 one need not quantify in much detail the rest of it, nor does  
17 one need to calculate a dose.

18 I believe the point of that categorization is--  
19 well, actually, I don't know what the point of the  
20 categorization is derived from the NRC, but the way we're  
21 using it is to define our level of effort associated with the  
22 amount of dose and criticality calculations that we do. And,  
23 for that purpose, it screens out part of the work we have to  
24 do.

25 GARRICK: Any other questions? Yes, Andy?

1           KADAK: Has DOE finished their, I think it was called  
2 their risk margins, or margin safety analysis, and has that  
3 been factored into your modeling?

4           FRANK: I have no knowledge of that. Do you know that,  
5 the performance margin analysis?

6           GARRICK: For the TSPA.

7           NEWBURY: I'm sorry, can you repeat the question?

8           KADAK: I thought the last time Ward mentioned that they  
9 were going to do some kind of a safety margins analysis to  
10 support the TSPA.

11          BUDNITZ: That's postclosure.

12          NEWBURY: I know that, Bob. Claudia Newbury, DOE.  
13 Thank you, Bob Budnitz.

14                 Yes, we are in the process of doing what's called a  
15 performance margin analysis, where we will take some of the  
16 conservatisms out of the TSPA, and then use as a comparison  
17 to our compliance case TSPA, which will be in the license to  
18 show that we have margin.

19          KADAK: Okay. Now, back to this question. Claudia  
20 suggested that you might know something about the seismic  
21 design criteria relative to the basis for establishing--we  
22 talked about this morning--a relatively high seismic loading.  
23 Is that correct?

24          FRANK: That's correct.

25          KADAK: Okay, could you share with us how we got those

1 big--

2 FRANK: Are you referring to the TAD spec?

3 KADAK: Well, I'm assuming that the TAD spec, the  
4 seismic input to the TAD storage pad is the same as that  
5 associated with the facilities.

6 FRANK: Yes.

7 KADAK: So, can you describe how that number was  
8 established, or that risk was established, establishing a  
9 certain ground motion?

10 FRANK: Not in detail. I can tell you that there was  
11 recently an effort completed earlier in the year, an effort  
12 completed by the project seismic geologic team that developed  
13 a seismic hazard curve, and that seismic hazard curve has a  
14 roughly the 1 in 500,000 year frequency, approximately 3G  
15 PGA.

16 KADAK: One in 500,000 years? Now, that's going to be  
17 designed for surface facilities?

18 FRANK: Well, that is not the design point for the  
19 surface facilities. That just happens to be what the hazard  
20 curve ends up at at that very low frequency.

21 KADAK: Okay. So, why are we talking about then  
22 designing for a 3G event on the surface pad that may last, at  
23 most, maybe for 150 or so years?

24 FRANK: I think what you're referring to now is the  
25 requirement associated with the AO with a TAD inside to not

1 tip over and withstand motions at that level.

2 KADAK: Yes.

3 FRANK: We are, as a project, as I mentioned before, we  
4 took the commitment to do a seismic risk assessment, which  
5 convolutes the entire hazard curve with fragility curve. So,  
6 one needs to understand responses, even at the high  
7 earthquake levels, in order to include that in the  
8 integration.

9 KADAK: Meaning?

10 FRANK: Meaning that I'd like to be able to--that what I  
11 would hope to show, and I don't know how it's going to come  
12 out, it's a little early for that, but when we do take the  
13 hazard curve with the seismic event sequence associated with  
14 the full range of those earthquakes, and we convolute them at  
15 the P, that the mean probability of that process will be less  
16 than  $10^{-4}$  over the preclosure period. For that  
17 to occur, there needs to be some strength, or we need to be  
18 able to understand, and in a certain sense, show that at  
19 about 3G, at a level somewhat greater than 3G--I'm going to  
20 back off on that and say it a different way. In lieu of that  
21 calculation being performed by the vendors, we need to be  
22 able to tell the vendors a particular design point, worse  
23 case design point. And, we were not given the guidance to--  
24 do you want to say something?

25 KADAK: I'm just wondering who picked the 3G as the

1 design point?

2 FRANK: It's not a design point. It's part of the  
3 hazard curve.

4 KADAK: But, from what I was told this morning, they're  
5 designing to a 3G event for these TADs. But, let me work it  
6 backwards, and use what I know of the reactor storage pad  
7 designs. One in 10,000 years is an acceptable return period  
8 for structures and storage pads.

9 FRANK: Okay.

10 KADAK: For roughly 100 years, 40, 60, you can stretch  
11 it to 100. Now, why did somebody decide--and, you can go and  
12 find out what the earthquake return, what earthquake at Yucca  
13 Mountain would be for that return period, which I don't  
14 believe is 3Gs. Maybe it is.

15 FRANK: It's one in a thousand year, it's less than 3G.

16 KADAK: All right. Now, what is wrong with using that  
17 as the design basis to show that in the hundred or so years  
18 that you might be operating this storage pad, that it's  
19 acceptable as opposed to going to 10 to the minus, pick a  
20 number, that maybe drives you to 3G for your design? That's  
21 what I'm trying to understand.

22 FRANK: First of all, let's get the--the design point is  
23 different from the analysis point or the margin point. The  
24 design point means that the vendors go to a level less than  
25 3G, and I don't remember what the TAD spec says on that,

1 whether it's .4 or .5 or .6, I just don't remember. And at  
2 that point, all of the structural codes and standards with  
3 all their allowables kick in, and vendors need to meet that.

4           Beyond that design point, there is margin to be  
5 demonstrated, and that margin, given the hazard curve, leads  
6 us down to a one in 500,000 year level. Why one in 500,000  
7 year? 50 years of lifetime times one in 500,000 years, gives  
8 us a 10 to the minus 4 over the preclosure period, so that  
9 we'd like to demonstrate that there's adequacy down to our  
10 screen-out point, the Category 2, Category 3 boundary.

11           WISENBURG: My name is Mark Wisenburg. I'm the Bechtel  
12 SAIC manager for preclosure safety analysis. I want to  
13 remind you that Dr. Frank said he knew a little bit about the  
14 seismic design criteria. You're quizzing him as if he were  
15 the expert and knew all the answers. I know a little bit  
16 more. I need to put some perspective on Dr. Kadak's  
17 question.

18           Dr. Kadak is proposing exactly what the Department  
19 of Energy originally proposed by way of a seismic margins  
20 analysis with a 10,000 year earthquake as the radio-level  
21 earthquake. That was our original proposal. We made that  
22 submittal to the Nuclear Regulatory Commission. The staff  
23 struggled long and hard to determine whether that would be an  
24 acceptable approach. They ruled that inasmuch as a seismic  
25 margins analysis did not provide you with the appropriate

1 probabilistic framework to make a judgment as to whether you  
2 are Category 1, Category 2, or beyond Category 2, that's  
3 helpful, and providing insight into the design, the seismic  
4 margins analysis by itself would not demonstrate compliance  
5 with the regulation.

6           Then, the decision was made to follow, in general,  
7 the guidance in ISG-1. We aren't slave to it. We are taking  
8 some exceptions, but, in general, that is a definition of a  
9 seismic hazards curve, and convolution against that curve of  
10 the structural fragility of the piece of equipment or  
11 structure of concern. The seismic hazards curve gives you  
12 the G levels you are talking about. They are points on the  
13 curve.

14           GARRICK: Thank you. Thank you very much.

15           Okay, well, are there--okay, question from--excuse  
16 me.

17           NEVERGOL: If you could just give me two minutes, I need  
18 to clarify one thing to make sure everybody understands.  
19 This is Debbie Nevergol from BSC.

20           What we've been discussing just now relative to the  
21 3G is only applicable to the aging overpacks. I wanted to  
22 make it clear that from a design perspective on the buildings  
23 themselves, we're designing those for the 2,000 year  
24 earthquake return period, which would put us about at .58 to  
25 .52 Gs, vertical and horizontal PGA. So, much less than the



1 3Gs.

2 GARRICK: Oh, that's a very important observation.

3 KADAK: Why is it that the NRC or somebody thinks the  
4 overpack needs to fly to be good?

5 NEVERGOL: I think it's a different perspective of  
6 looking at the probabilistic analysis. What they're looking  
7 at is at the 500 year return period, which is equivalent to  
8 two times 10 to the minus 6. If we design for that  
9 overturning, and show that it does not overturn at that  
10 earthquake, then we've met our probabilistic requirements.  
11 Different than the approach being taken on the buildings.  
12 Correct me if I didn't say that right.

13 KADAK: It sounds like it's your design decision to pick  
14 the number, not NRC's.

15 NEVERGOL: DOE's decision on how to approach this for  
16 the aging overpacks.

17 KADAK: Ah, ahhh, so we shouldn't be blaming the NRC,  
18 should we?

19 NEVERGOL: I don't blame the NRC for anything.

20 KADAK: Just to clarify. The building are designed to  
21 what standard? What floating?

22 NEVERGOL: The 2,000 year return period earthquake.

23 KADAK: 2,000 year return period, which is what?

24 NEVERGOL: It is .52 Gs vertical, and .58G horizontal  
25 PGA.

1 KADAK: Okay. And, the only thing that's designed to  
2 this 3G is the overpack?

3 NEVERGOL: Design is not--they will be evaluated for  
4 overturning, showing that they will not overturn with the 3G.

5 KADAK: And, I'm still trying to understand how you get  
6 the 3G?

7 NEVERGOL: The 3G is coming off of the 500,000 year  
8 return period earthquake.

9 KADAK: And, why did you pick that?

10 NEVERGOL: Because that's equivalent to 2 times 10 to  
11 the minus 6 annual probability of occurrence.

12 GARRICK: Which isn't NRC?

13 NEVERGOL: Which is the 1 in 10,000 over the preclosure  
14 period.

15 KADAK: Okay, thank you.

16 GARRICK: All right, let's see, we had a question over  
17 here? Yes, go ahead, David.

18 DIODATO: Dave Diodato, NWTRB staff risking universal  
19 enmity here.

20 I was impressed by the challenge of your  
21 undertaking here, and also the significance of it in terms of  
22 evaluating the safety of preclosure operations. And, I was  
23 encouraged by your response to Howard Arnold in terms of yes,  
24 you had feedbacks to design, and how that works. Well, as an  
25 aside for a second, you know, Dr. Abkowitz asked about

1 outside the fence, no, you're inside the fence, but you also  
2 include underground; is that correct?

3 FRANK: That includes underground operations during the  
4 preclosure period, yes.

5 DIODATO: Okay. I just wanted to get that clarified.  
6 So, in terms of your feedbacks to design, it seems like  
7 there's a lot of opportunities there for reducing the risk,  
8 you know, enhancing safety through design decisions. So, my  
9 question is can you name two or three top scenarios,  
10 contributors to the risk that you've identified, and have  
11 there been any design modifications, you know, feeding back  
12 as a result of those risks that you identified, those major  
13 scenarios that contribute to the risks?

14 FRANK: You used the word major, and I just decided to  
15 ignore that, and I'll give you two examples, because it's  
16 hard to know at this point in my analysis, you know, what's  
17 major and what isn't. So, I'll just give you two examples.

18 We are sensitive to, of course, the height of the  
19 drop, and one could, you know, push the button and have a  
20 crane arise rather high, in fact, all the way up to where  
21 it's called two blocked. So, what we wanted to do was limit  
22 the drop heights to reduce the probability of a breach, and  
23 we did this by design in a couple of ways. Easy ways like  
24 safety limit switches. More sophisticated ways by sensing  
25 when the lifted canister has actually gone through a second

1 floor, and then closing the gates on it so it can't fall any  
2 further than that.

3           Another example would be associated with the TEV.  
4 It is a semi-autonomous design, which electrically actuates  
5 its own doors to open. The waste package itself is not a--  
6 doesn't provide much shielding. The TEV itself is what  
7 provides the shielding to workers. And, so, when we saw that  
8 it is possible to have a spurious opening of that door, we  
9 put in interlocks to reduce the probabilities, to reduce the  
10 exposure to workers.

11           DIODATO: Can we have a picture of the TEV that was  
12 actually in a different--that was in Slovic's presentation.

13           FRANK: That's right. And, unfortunately--yeah, I don't  
14 think that picture showed the doors.

15           DIODATO: Well, no, this shows the doors in the front.  
16 I was looking at this because I don't know if you've ever  
17 seen a transformer. This thing kind of reminds me of a  
18 transformer. It's interesting. I was wondering because  
19 you're struggling with the issue of reductionism or, you  
20 know, joint probabilities are getting to be so small, you  
21 don't want to overdo that. So, when you put the transporter  
22 in your placement vehicle--that's it right there--into your  
23 analysis, what failure points do you see here that you  
24 include in your analysis? You talked about the doors?

25           FRANK: Yes, with respect--that's one thing, respect to

1 the doors. This thing is built like a tank. It's something  
2 on the order of 10 inches of steel around it, and, so, it is  
3 an extraordinarily rugged vehicle. What we're really  
4 concerned about is not damage to the vehicle from a safety  
5 perspective, it's an operational nightmare, but the waste  
6 package, we don't want the waste package to breach. So, we  
7 look at derailments, control commands that cause the TEV to  
8 increase speed, and we counteract that by simply putting  
9 motors in that don't have the capacity to increase speed.

10           There is a downhill slope at one point, and, so, we  
11 want to avoid a runaway, and, so, what we do is put in 100 to  
12 1 gear box--gear ratio gear boxes, so that there can be no  
13 back driving, and that reduces the--dramatically reduces the  
14 likelihood of runaway.

15           DIODATO: If this thing breaks down in the repository, do  
16 you have a plan for how you get it out?

17           FRANK: There is a concept for how to get it out, yes.  
18 There will be, the way I understand the concept, is that  
19 there will be a similar--well, think about it as a train.  
20 When a locomotive breaks down, you bring another little one  
21 up with a coupling device, you couple it and you haul it out  
22 of there.

23           DIODATO: Thank you. I appreciate that.

24           SLOVIC: Just--this is Bob Slovic. The transport and  
25 emplacement vehicle, as I said earlier, has about eight

1 motors in it. It will operate with six, and two of them  
2 stalled. Also, with the doors closed and the bed plate in,  
3 it's shielded, or the operators or anybody coming up to it  
4 would be shielded so if it was located on the surface, you  
5 could walk up to it and repair what you needed to do. We  
6 haven't gotten yet to a tractor to pull it out, but that's  
7 another option for recovery type of thing, if it were stalled  
8 in a drift somewhere and we couldn't send humans in.

9 DIODATO: I appreciate the clarification. The thing  
10 that strikes me about this is the whole risk triplet  
11 approach. You talked about how to assess risk based on past  
12 historical experience, and here we have a novel design for  
13 something that's never been--

14 SLOVIC: It is, but we're essentially not handling--the  
15 waste package is designed for, well, it's I think a two meter  
16 drop, or it's been analyzed for a two meter drop. We pick it  
17 up a food.

18 FRANK: Let me respond to that, though, the novel design  
19 aspect. The assembly of it is novel, but it is still  
20 composed of motors and gear boxes and contactors and  
21 programmable logic controllers, all of which we know a lot  
22 about.

23 DIODATO: That makes sense. Thank you.

24 WISENBURG: This is Mark Wisenburg. I wanted to go back  
25 to your basic question, which you--by have you identified

1 major contributors to risk. A fundamental major contributor  
2 of risk is cask handling, and mishaps associated with it.  
3 What we have done in the course of interface and cooperation  
4 with design, as the design of the canister base repository  
5 proceeded, we took every opportunity we could to eliminate  
6 lifts, and limit the height of lifts. That is one of the  
7 principal contributors of the risk insight and--to the  
8 engineering design, and a very basic and high level.

9 GARRICK: All right. I think we have exhausted our  
10 time. Mike, obviously, you have a big job ahead of you, and  
11 we wish you well. It's a major task, what you're trying to  
12 do, and we appreciate your spending the time with us and  
13 telling us where you are.

14 We're only 12 minutes, 11 minutes behind schedule  
15 if you don't count the break. And, I think rather than  
16 having a break, we will move on. And, that brings us to the  
17 public comment period, and I guess I have at least one public  
18 comment that wants to be made by Judy Treichel.

19 So, Judy, you have the floor.

20 TREICHEL: Judy Treichel, Nevada Nuclear Waste Task  
21 Force.

22 First, I want to thank you for asking the question  
23 about the EIS and having the answer given by Mr. Sproat that  
24 they were going to bail out before they had a record of  
25 decision, which EISs are one of the most important things as

1 far as the public is concerned, because we understand it, and  
2 we've dealt with EISs for a very long time, and we know what  
3 happens when, you know, the various processes that go along  
4 and that you respond to the draft and then a final comes out,  
5 and if there is no record of decision, you miss out on a very  
6 important part of the process. But, that's the way it's  
7 going to go, and I wanted to find out that that was what was  
8 happening.

9           There is, I guess for decades, I've been standing  
10 here and you've been sitting there, and you hear me talk  
11 about this idea that the sense of urgency is not a good  
12 thing, even though you heard from the industry that they're  
13 delighted that there suddenly is this new sense of urgency  
14 with DOE. And, the idea of keeping to the schedule and  
15 trying to rush through this thing has been the worst thing  
16 that they have done all the way along. Trying to rush  
17 something that's a million year project, or even a 10,000  
18 year project, is a terrible mistake.

19           And, if you'll remember in the year 2004, they were  
20 at about this same situation. They tried to certify their  
21 LSN, they were all set to go to licensing, and the  
22 certification came off of the LSN, and they didn't go to  
23 licensing, and look at all that you've heard since 2004.  
24 Isn't it a good thing that the rush came to a screeching  
25 halt. And, it's my assumption that that probably will happen



1 again, and it's not a disaster. It's very good for the  
2 people of Nevada, those along the transportation routes, and  
3 probably those in reactor communities, too.

4           The idea that there's a Yucca Mountain address  
5 label on a cask that's sitting at a reactor site and,  
6 therefore, gives confidence to people is not necessarily  
7 true. There are a lot of groups out there across the nation  
8 that oppose Yucca Mountain, and many of them are in reactor  
9 communities, and they're far more interested in whether or  
10 not that on-site storage is being done as safely as possible,  
11 rather than what the address label on the thing says. So,  
12 there's very different points of view here, and I think you  
13 need to hear those along with the industry.

14           I also think there's phrases that went on today  
15 that are troubling. When, I think it was during a discussion  
16 of the opening of--possible opening of dual purpose casks at  
17 a repository, and that decision would be made after  
18 licensing. So, it's like you go down and you get yourself a  
19 driver's license, and then you feel you're good to go for  
20 street racing. That's just not what's going on here, and we  
21 hear all sorts of things like that, and the idea that what  
22 we're looking--or what we're working toward is something that  
23 will work for licensing. Well, I don't care about something  
24 that works for licensing. I care about a waste disposal that  
25 works.

1           The idea that, I think it was Chris Kouts who said  
2 we assume that the utilities will want us to take the waste  
3 right from the pools. Well, if you follow that through, then  
4 what you have here is the TAD going to Yucca Mountain with  
5 waste that's just barely cool enough to qualify for being  
6 transported, and Yucca Mountain turns into, along with its  
7 aging facility, an MRS, because it's going to have to sit out  
8 there for a long time if it arrives that hot.

9           It also seems very strange that everything is  
10 propped up against a rail line, which isn't there, and it's  
11 likely that it may never be there. So, there are a lot of  
12 things that are kind of propped against something that just  
13 doesn't exist yet. And, Ward Sproat and the Department of  
14 Energy and the repository project seem to be trying to outrun  
15 the opposition.

16           So, what I see is a license application that's  
17 going to go in, and a licensing process that will take place  
18 in order to license specifications and assumptions and  
19 pictures and partially done designs, and I don't think that's  
20 why the TRB is here and that's what you were set up to  
21 evaluate.

22           So, thank you.

23           GARRICK: Thank you. Yes.

24           TREICHEL: I'd be disappointed if you didn't.

25           KADAK: Kadak. Judy, what can we do to bring more of

1 the public into these meetings? Because it's just very  
2 disappointing not to see more of the people from Nevada  
3 listening to some of this stuff.

4 TREICHEL: I guess you could do what Canada and Sweden  
5 and some of the other places do, and replace their paycheck  
6 for their participation so that you don't take a day off of  
7 work, and you don't--I mean, after all, we've been at this  
8 for 20 years. How many people out there are capable of going  
9 back and finding out what even the acronyms mean. It's very  
10 hard, and that train left the station. Once this thing was  
11 recommended, the site was recommended and Congress acted and  
12 we're off toward licensing, what difference does it make what  
13 the public says?

14 The one thing the public does do is they comment on  
15 EISs, but whether or not that's worth doing in this case or  
16 not, when you're never even going to get a record of  
17 decision, that gets thrown over the wall along with the LA,  
18 and that's NRC's problem and the public isn't there. NRC has  
19 all different rules for the way they treat EISs. So, there  
20 should have been a public participation program when it  
21 started.

22 KADAK: Not that I'm recommending this to the other  
23 Board members, but you're saying the evening meetings may be  
24 better?

25 TREICHEL: No.

1 KADAK: No?

2 TREICHEL: Stop and start over again. Get yourself a  
3 good program.

4 FITZPATRICK: Am I too late, Dr. Garrick?

5 GARRICK: Yes.

6 FITZPATRICK: For a quick one? Is it too late for a  
7 quick one?

8 GARRICK: Sure.

9 FITZPATRICK: Okay, this will be for Dr. Frank, I guess.  
10 This is an acronym question. The column in your Slide 10,  
11 the sequence of analysis of event sequence, there's a lot of  
12 CRC- and then a number. What is the acronym?

13 First off, I'm Charlie Fitzpatrick, State of  
14 Nevada, and I'm sorry, I asked Dr. Frank to identify the  
15 acronym CRC in his slide.

16 FRANK: CRC is short for CRCF in our jargon, which is  
17 the canister receipt and closure facility, and what that  
18 actual--those sequence of numbers refer to is a box in the  
19 master. Each one represents a box in the master logic  
20 diagram. So, you can trace the analysis from the master  
21 logic diagram and see where that information is used in the  
22 event sequences.

23 FITZPATRICK: Okay. And, the second part of the  
24 question, just to sort of try to gauge the enormity of what  
25 you have ahead of you, I think I heard that there could be as

1 many as a couple hundred event sequences. But even if there  
2 were 100 of significance, if they each had to go through this  
3 step by step analysis with these data packages at the base of  
4 them, is what you're going to have to submit in February '08  
5 to DOE as the final package? Can you give me a guess of the  
6 enormity of that?

7 FRANK: Well, I don't think that what we are going to  
8 submit is at all out of balance with, in fact, complete  
9 consistent with a typical submittal of a risk assessment for  
10 our nuclear power plant. I think it's a similar number of  
11 significant event sequences.

12 FITZPATRICK: Are we talking hundreds of pages?

13 FRANK: For all the documentation, we're probably  
14 talking--well, what we will provide the NRC will be, for our  
15 analysis, on that order, about 100 or so pages. And, then,  
16 of course, there's other documents that have the details of  
17 the calculations.

18 FITZPATRICK: Thank you.

19 GARRICK: Go ahead, Steve?

20 FRISHMAN: Thank you, John.

21 Steve Frishman, State of Nevada. I think I have to  
22 repeat something to the Board that I said I think two or  
23 three times over the years, but there are enough that  
24 probably haven't heard me, and I heard the misconception  
25 again this morning on the subject. And, that's the Part 63

1 licensing is not the same procedure as reactor licensing.  
2 There's a major difference, and DOE is trying to make them  
3 look alike.

4           There appears to have been at least some  
5 misconception that they are alike by other people, and  
6 that's--the major difference is that the safety analysis  
7 report that goes with the repository license application  
8 under Part 63 is the safety analysis report, and reactor  
9 licensing, you start with a PSAR, preliminary safety analysis  
10 report. And, that's a very large distinction, and a very  
11 large difference, and DOE seems to over the years have  
12 continued to believe that what they submit as a license  
13 application will contain what is the equivalent of a PSAR  
14 that will then be elevated up when they go for the amendment  
15 for possession. That's not the way the rule goes. The SAR  
16 is the SAR.

17           Now, that is not an esoteric thing to be thinking  
18 about, especially when you hear such things as 35 percent  
19 design at the time of--35 percent design for ITS at the time  
20 of license application, when you hear that there will not be  
21 a TAD design, they will try to license the TAD specification.  
22 These are important distinctions, and it's, I think, of a  
23 major concern, and it's a misconception that DOE has  
24 continued to foster. They believe it themselves. And, I  
25 think they possibly believe that the NRC will let them get

1 away with it only because the NRC has been silent all these  
2 years on DOE's misconception, and DOE, as it has done with  
3 almost everything else where there's a question that would  
4 have to do with someone else having any control over their  
5 program. If the issue is out there, the one responsible for  
6 the answer is silent, DOE takes it as consent.

7           So, in a situation where we are going to get an  
8 incomplete license application that DOE is going to try to  
9 insist is a complete license application, and they tell you  
10 in this room today, 35 percent ITS design, simply things, no  
11 TAD design, no TAD design because they haven't got time to do  
12 it if they're going to make June of 2008.

13           So, I just wanted to clear up that distinction.  
14 It's a very important distinction, and it should factor in  
15 your thinking about the level of technical credibility of the  
16 upcoming license application, because I think you need to  
17 worry about that. And, it should also at least temper your  
18 thoughts on the extent to which, whether it's complete or  
19 not, you think the work even meets the excellence bar that  
20 the NRC has given--has said for years and years is going to  
21 have to be not necessarily because they're great champions of  
22 excellence, but because they know if it's not excellent, it's  
23 going to take time to get it to the point where they can  
24 process it, and they've got the law hanging over their head.

25           I think these are places where your expert advice

1 could come to bear on the things even in the risk informed  
2 world that we have to live in, because NRC says it is, you  
3 can bring these things to bear in your thinking about what is  
4 it maybe that is important enough for DOE to have to take  
5 care of it before they subject the license application to not  
6 only the NRC, but to us who are going to have to spend  
7 extraordinary resources to deal with the fact that they have  
8 a license application that's not complete.

9 GARRICK: Okay, thank you. Thank you very much, Steve.  
10 Anyone else?

11 ARNOLD: John, let me say something to Steve. I'm the  
12 one who used the PSAR term, but the fact of the matter is  
13 whether it's a PSAR, an FSAR, or whatever, the final SAR will  
14 be the result of whatever they submit in the first place, and  
15 the answers to all the RAIs that the NRC will bombard DOE  
16 with over the years. So, I'm sorry for using the word PSAR,  
17 but I recognize that what's sent in originally will evolve  
18 considerably before it reaches the end.

19 FRISHMAN: I won't continue the discussion.

20 GARRICK: Any other comments or questions?

21 Very good. Well, the Board wants to thank all the  
22 presenters, and all of the questioners. It was a very  
23 comprehensive discussion, I believe, and a number of issues  
24 were raised that were not adequately addressed, which  
25 provides material for future meetings, which there will



1 surely be. And, we look forward to that.

2 But, we want to thank everybody for being here, and  
3 especially for the people that made the presentations, and  
4 especially the people who made the public comments. So, with  
5 that, we will, without further ado, we will adjourn.

6 Thank you.

7 (Whereupon, the meeting was adjourned.)

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

C E R T I F I C A T E

I certify that the foregoing is a correct transcript of the Nuclear Waste Technical Review Board meeting held on September 19, 2007 in Las Vegas, Nevada taken from the electronic recording of proceedings in the above-entitled matter.

September 26, 2007

s/Scott Ford\_\_\_\_\_  
Federal Reporting Service, Inc.  
17454 East Asbury Place  
Aurora, Colorado 80013  
(303) 751-2777