


Certification Form

I certify that I have read the transcript for the September 17, 2007, meeting of the Panel, and that, to the best of my knowledge, this transcript is accurate and complete.

  
\_\_\_\_\_  
Linda Zeiler, Designated Federal Officer

  
\_\_\_\_\_  
Dr. Jan M. Mutmanský, Chair

# TRANSCRIPT OF PROCEEDINGS

---

IN THE MATTER OF: )  
 )  
TECHNICAL STUDY PANEL ON THE )  
UTILIZATION OF BELT AIR AND THE )  
COMPOSITION AND FIRE RETARDANT )  
PROPERTIES OF BELT MATERIALS IN )  
UNDERGROUND COAL MINING )

Pages: 1 through 235/380

Place: Reston, Virginia

Date: September 17, 2007

---

## HERITAGE REPORTING CORPORATION

*Official Reporters*  
1220 L Street, N.W., Suite 600  
Washington, D.C. 20005-4018  
(202) 628-4888  
hrc@concentric.net

UNITED STATES DEPARTMENT OF LABOR  
MINE SAFETY AND HEALTH ADMINISTRATION

IN THE MATTER OF: )  
)  
TECHNICAL STUDY PANEL ON THE )  
UTILIZATION OF BELT AIR AND THE )  
COMPOSITION AND FIRE RETARDANT )  
PROPERTIES OF BELT MATERIALS IN )  
UNDERGROUND COAL MINING )

Conference Room 5  
Sheraton Reston  
11810 Sunrise Valley Drive  
Reston, Virginia

Monday,  
September 17, 2007

The parties met, pursuant to the notice, at  
9:10 a.m.

BEFORE: LINDA ZEILER  
Designated Federal Officer

APPEARANCES:

Panel Members:

JIM WEEKS, Ph.D

FELIPE CALIZAYA, Ph.D.  
Associate Professor  
Mining Engineering  
The University of Utah  
135 S 1460 E, #318  
Salt Lake City, Utah 84112  
(801) 581-5422

## APPEARANCES: (Cont'd.)

Panel Members:

JERRY C. TIEN, Ph.D., P.E.  
Associate Professor  
Mining Engineering  
University of Missouri-Rolla  
280 McNutt Hall  
1870 Miner Circle  
Rolla, Missouri 65409-0450  
(573) 341-4757

Dr. JÜRGEN F. BRUNE, Director  
National Institute for Occupational Safety  
and Health  
Spokane Research Laboratory  
315 East Montgomery Avenue  
Spokane, Washington 99207  
(509) 354-8001

JAN M. MUTMANSKY, PH.D.  
Professor Emeritus of Mining Engineering  
Department of Energy and Geo-Environmental  
Engineering  
The Pennsylvania State University  
156 Hosler Building  
University Park, Pennsylvania 16802-5000  
(814) 863-1642

Mr. TOM MUCHO

Speaker:

MICHAEL G. KALICH, Mining Engineer  
Division of Safety  
U.S. Department of Labor  
Mine Safety and Health Administration  
Coal Mine Safety and Health  
1100 Wilson Boulevard, Room 2411  
Arlington, Virginia 22209  
(202) 693-9714



1           When we first met in Washington on January 9  
2 of this year, we were given some more specific  
3 instructions by Mr. Richard Stickler, Assistant  
4 Secretary of Labor for Mine Safety and Health. Mr.  
5 Stickler said the following, and I quote from his  
6 comments:

7           "We are interested to know how technological  
8 advances during the last 15 years can be applied to  
9 reduce the risk of belt conveyors in underground coal  
10 mines. We are also interested in your thoughts and  
11 recommendations on limiting the belt air velocity,  
12 including revisiting the velocity cap.

13           "We are also interested in your thoughts on  
14 the use of atmospheric monitoring systems instead of  
15 point type heat sensors. We also seek your advice on  
16 the current state of fire resistant belt materials as  
17 opposed to fireproof materials and their practical use  
18 in underground coal mines.

19           "The question of whether the effectiveness  
20 of belt fire suppression systems are adversely  
21 impacted by the use of larger conveyor belts and  
22 higher belt air velocities is also an issue we hope  
23 you will address."

24           So to begin our work I'd also like to remind  
25 the members of the panel, and those in the audience as

1 well, of the nature of the underground coal mining  
2 task. If you take a look at the Bureau of Labor  
3 statistics on the mining industry you will find that  
4 the mining industry generally has a pretty fair safety  
5 record. In fact, the mining industry as a whole does  
6 not come in the top 10 list of hazardous jobs.

7           But, if you take the underground coal mining  
8 statistics and break them out of the mining industry  
9 as a whole you will basically find that for say the  
10 year 2006 underground coal mining was the fourth most  
11 dangerous or most hazardous job in the United States,  
12 following such things as loggers, pilots and  
13 fishermen. So even though we've made great progress  
14 in the mining industry, underground coal mining is  
15 still a very dangerous job, and it's part of our job I  
16 think to try to do our best to improve those  
17 statistics.

18           After discussions with panel members and  
19 Linda, we have decided to go with a panel procedure  
20 that will more or less move as follows. First, to set  
21 this off I'd like to say that we have 21  
22 recommendations that we will be considering.

23           We have somewhat of a limited amount of time  
24 here. One of our panel members, Dr. Brune, will be  
25 leaving for China Wednesday around noon, so he will

1 have to leave our presence here sometime in mid or  
2 late morning on Wednesday, so we would like to cover  
3 all 21 recommendations, if possible, before he leaves.

4           Our solicitors have told us that, if  
5 necessary, he can give his proxy vote to somebody else  
6 on the panel to vote on his behalf if he is not here,  
7 but we hope to finish all 21 recommendations before he  
8 leaves, and after he leaves we will have discussions  
9 about specifics of what will go into the discussion  
10 sections for each of the recommendations. So we will  
11 still be in session through Wednesday afternoon, but  
12 we will try to get through the recommendations and  
13 vote on the recommendations before Dr. Brune leaves  
14 for China.

15           Accordingly, we will allow each of the  
16 recommendations to have a 10 minute period of  
17 supporting comments, and members of the panel will  
18 present those supporting comments. We will then have  
19 10 minutes where panel members can ask questions or  
20 raise some rebuttal statements if they wish, and then  
21 after that we will have a 15 or 20 minute discussion  
22 in which we will discuss such topics as whether  
23 rewording of the recommendations is necessary, and  
24 once we have the recommendations reworded we'll try to  
25 put them in final form and we'll take a vote of the



1 panel.

2           So today we'll have a lot of help from our  
3 MSHA supporting staff, and we will have all the  
4 recommendations placed on the screen one-by-one, and  
5 then each recommendation will be taken up by the  
6 person who will provide the supporting comments.

7           So, Bill Francart, if you would go ahead and  
8 put the first one up there?

9           The first recommendation is on lifelines.  
10 You will note that in the recommendation here we are  
11 basically supporting the concepts of the lifeline  
12 regulations outlined by MSHA last year, and we are  
13 making some comments and recommendations that pertain  
14 to, number one, use of these lifelines and, number  
15 two, standardization.

16           As you probably recognize, as we traveled  
17 around the country to visit mines most of you probably  
18 saw the lifelines in place in the mines. I saw quite  
19 a number of them, and I was very happy to say boy,  
20 that is a good idea. It's a useful concept, and it's  
21 something that coal miners can use in an emergency.

22           If there was any one thing that I noticed  
23 about them was that for the greatest part they were  
24 very logical. The miner, whether he has a gloved hand  
25 or whether he has an ungloved hand, could follow the

1 lifeline to safety even though vision was almost  
2 totally impaired. As long as he could get to the  
3 lifeline, I think he basically had a pretty strong  
4 method of getting led out of the mine and out of  
5 danger's way.

6           One of the problems is the lifelines are not  
7 standardized from company to company, and we thought  
8 that maybe this is one recommendation that we could  
9 possibly make. It seems as though most of the  
10 lifelines are pretty much standardized from mine to  
11 mine, but there's no set standard, and individual  
12 mines could use their own -- what should you say --  
13 standard if they wanted to.

14           Second, our subcommittee recommended that  
15 maybe we should have more standardized tactile signals  
16 attached to the lifelines, one for some sort of  
17 impediment, one for an SCSR cache and one for a  
18 personnel door.

19           As you probably recognize, the SCSR cache is  
20 a standard procedure now and so that is nothing new.  
21 A person moving along the lifeline traditionally can  
22 find the SCSR cache directly from the current  
23 lifelines, but we felt that there would be more  
24 potential for information on the lifelines regarding  
25 other issues in the mine. In particular, the one we

1 thought about was a personnel door into an adjacent  
2 escapeway.

3           So in this particular case we feel the MSHA  
4 movements toward lifelines are very useful. We'd like  
5 to work toward enhancing the lifeline usage, and we  
6 would like to recommend that standardized signals  
7 would be extremely valuable, and in particular one of  
8 the advantages is we could use the inside of the hard  
9 hat as a place for a miner to be reminded of what the  
10 signals mean.

11           At times in the past it's been a standard  
12 practice for miners to be given reflective stickers to  
13 put inside their hat, and those reflective stickers  
14 are just there for information. If the miner needed  
15 to gain information he just takes his hat off and  
16 looks at the stickers and that provides the  
17 information he needs.

18           In the case of lifelines we see the  
19 possibility that that might be a valuable addition.  
20 That might be something that calms a person who's  
21 trying to escape from the mine and becomes confused  
22 and he wants to reassure himself he knows what he's  
23 doing in his escape attempt. So this represents just  
24 an extension to the current regulations, and we  
25 believe that lifelines are a very valuable tool and

1 we'd like to see them enhanced just slightly in the  
2 future.

3           Okay. Members of the panel, are there  
4 questions or are there any comments that should be  
5 brought up at this time?

6           DR. WEEKS: I've got one. The relevance of  
7 this recommendation to the belt air issue, as I  
8 understand it anyway -- I was not on this subcommittee  
9 so I may say something that is as awkward as I'm  
10 saying it now, whatever that is.

11           In any event, the relevance of this  
12 recommendation to the belt air issue is that with the  
13 use of belt air for ventilation it often results in  
14 the reduction of the number of entries. That's not  
15 always true, of course. If it reduces the number of  
16 entries it reduces the number of escapeways.

17           That being the case, something needs to be  
18 done to improve the functionality of escapeways, and  
19 that's what this recommendation does. I mean, I think  
20 it's a good practice in general with or without the  
21 belt air, but the link to the belt air, as I  
22 understand it, is in that way.

23           DR. BRUNE: I was not on the subcommittee  
24 either, but did your subcommittee think about any more  
25 clarification as to what tactile signals should be

1 applied to these lifelines in order to characterize  
2 the impediments or the availability of SCSRs in the  
3 adjacent crosscut and so on?

4 DR. MUTMANSKY: Jürgen, we discussed that  
5 just generally. We thought about the possibility of  
6 just simply putting cones back-to-back to mean  
7 different things. We thought about changing the  
8 tactile signal from a cone to round spheres of some  
9 sort.

10 What we were concerned about is we didn't  
11 know enough about how well the tactile signals would  
12 be interpreted by a miner with a gloved hand, so we  
13 thought that perhaps we should allow that to be taken  
14 up by somebody who can research that further. The  
15 standard signals in some of the mines right now are to  
16 have double cones to mean an SCSR cache.

17 DR. BRUNE: Yes.

18 DR. MUTMANSKY: Maybe that's okay and maybe  
19 you just need to extend that, but we don't feel like  
20 we're knowledgeable enough to make that  
21 recommendation.

22 DR. BRUNE: Okay.

23 DR. CALIZAYA: If I may?

24 DR. MUTMANSKY: Felipe? Yes?

25 DR. CALIZAYA: When we were discussing this

1 issue, Jim Olson mentioned about conducting members  
2 also see the visibility of implementing different  
3 types of tactile signs. The cones seem to be the  
4 easiest ones to implement.

5 DR. MUTMANSKY: Yes. Any other comments?

6 (No response.)

7 DR. MUTMANSKY: Linda and I felt that this  
8 would not be a very controversial recommendation, so  
9 unless there's additional comments and discussion I  
10 will call for the vote on this.

11 DR. WEEKS: Just one minor comment, and it's  
12 a first impression. I think three is too many, and  
13 it's a lot to remember particularly in an emergency.  
14 That is subject to some real experimentation.

15 DR. MUTMANSKY: I think it's true. One of  
16 the reasons why -- I actually thought of the hat  
17 sticker as a possibility. I guess the real problem is  
18 can you read a hat sticker in the smoke? I don't know  
19 the answer to that. We need to know the answer to  
20 that. The second thing is how much confusion you  
21 might create.

22 One of the things I think you need to have,  
23 for example, most of the mines who have an SCSR cache  
24 have a couple cone signals and a line leading directly  
25 to the box containing the SCSR. You can do the same

1 thing for the doors.

2           The impediment in the travel ahead, again  
3 now that's something I think that needs some research  
4 before you decide how to do that and the best way of  
5 doing that. There's still some unanswered questions  
6 here.

7           Jerry?

8           DR. TIEN: Jan, I just want to re-endorse  
9 the concept of standardization so when miners move  
10 from place to place, region to region, they would have  
11 the same thing to deal with. That's the important  
12 point. I just want to make that point.

13          DR. MUTMANSKY: That does help somewhat,  
14 yes.

15          Other comments?

16          (No response.)

17          DR. MUTMANSKY: All right. I'm going to  
18 take the vote. We'll take the votes individually, if  
19 you don't mind.

20          MS. ZEILER: Yes. Could I recommend just  
21 for clarity that you read the actual text of the  
22 recommendation before you take the vote?

23          DR. MUTMANSKY: You want me to read it  
24 aloud?

25          MS. ZEILER: Yes.

1 DR. MUTMANSKY: All right. Linda wants me  
2 to read this to you just so we've reviewed the wording  
3 totally. Just in case we want wording changes, it's  
4 important that we actually listen to the words.

5 The words for this recommendation state:  
6 "The Technical Study Panel endorses the lifeline  
7 regulations outlined by MSHA in the *Federal Register*,  
8 2006, but is recommending two additional methods of  
9 strengthening the rules.

10 "First, the Panel recommended that all coal  
11 mine lifelines be standardized across the country with  
12 regard to the tactile signals attached to the  
13 lifeline. Second, the Panel recommends that three  
14 standardized tactile signals be designed to indicate  
15 1) Impediment to travel ahead, such as a door,  
16 regulator, overcast, pool of water, et cetera; 2) SCSR  
17 cache in the adjacent crosscut; and 3) Personnel door  
18 to an alternate escapeway in the adjacent in the  
19 crosscut."

20 Are there any word changes that are being  
21 proposed by the panel at this point in time?

22 MR. MUCHO: Yes.

23 DR. MUTMANSKY: Yes?

24 MR. MUCHO: I just really thought of one as  
25 I look at that, the personnel door to an alternate



1 escapeway. I wasn't thinking of limiting it to an  
2 alternate escapeway when I read this thing a number of  
3 times.

4 I think just alerting to a door, because  
5 just depending on the situation, a door, and to a  
6 nonalternate escape is as important in terms of  
7 escape. I would think that what we're looking for  
8 here is some tactile signal that there's a door in the  
9 crosscut.

10 DR. MUTMANSKY: Is that a proposal, Tom,  
11 that we change the wording? Is that what you're  
12 asking for?

13 MR. MUCHO: Yes.

14 DR. MUTMANSKY: Thank you. All right. Tom,  
15 why don't you go to No. 3 there and propose the  
16 wording so that the people recording our words here  
17 can get it correct and we'll base it on that.

18 MR. MUCHO: All we have to do is scratch to  
19 an alternate escapeway.

20 DR. MUTMANSKY: Okay. Are there any  
21 objections to that change? Are there any objections  
22 to that change?

23 DR. WEEKS: I don't want to get in the task  
24 of wordsmithing here, but it would make more sense so  
25 that it would read, "Personnel door to an adjacent

1 crosscut..." and just drop alternate escapeway in the  
2 whatever.

3 DR. BRUNE: Well, the door would typically  
4 be in the crosscut.

5 DR. WEEKS: It would be in the crosscut,  
6 yes.

7 DR. BRUNE: It's not the door leading to the  
8 crosscut. It's the door in the crosscut because  
9 that's the door.

10 DR. MUTMANSKY: I think that opens up some  
11 other problems, but I understand Tom's logic here. I  
12 don't object to it. It would be nice if we could  
13 clarify it further. Is there any way we could clarify  
14 that further by adding a few words or something of  
15 that sort?

16 If we just say, "Personnel door in the  
17 adjacent crosscut," how would the person know whether  
18 it's an escapeway or not an escapeway? Does that  
19 matter? I guess that's the question. Does it matter?  
20 I don't know the answer.

21 DR. WEEKS: Well, presuming it's an  
22 emergency you might not know whether it's contaminated  
23 or not or accessible or not. All that this would tell  
24 you is that there's a door to go another direction.

25 DR. MUTMANSKY: Correct. That's correct.

1           MR. MUCHO: Right. Often an escape which is  
2 done, trying doors or making the route has been a  
3 common thing we've seen in these kind of emergencies.

4           I would think too personnel door is a good  
5 point. All doors that I know of are personnel doors.  
6 Either they're small and somebody can go through or  
7 they're equipment doors, so "personnel" seems to be  
8 limiting it in a way that we don't want to limit them.

9           I would say "Doors in the crosscut."  
10 Certainly it's not an adjacent crosscut, so I would  
11 just say the doors in the crosscut or in a crosscut or  
12 something like that.

13          DR. MUTMANSKY: I think Tom's proposal is we  
14 change the wording on No. 3 to "A door in the adjacent  
15 crosscut." Is that what you're saying, Tom?

16          MR. MUCHO: That's what I'm saying. Not in  
17 the adjacent crosscut.

18          DR. MUTMANSKY: In the crosscut.

19          MR. MUCHO: "A door in the crosscut." The  
20 tactile signal would be in the crosscut. It would be  
21 in the intersection as you came across. It's alerting  
22 you that in the crosscut there's a door.

23          DR. MUTMANSKY: Okay. Give us your final  
24 wording and we'll vote on it, Tom.

25          MR. MUCHO: Okay. "And to doors located in

1 the crosscut."

2 DR. MUTMANSKY: Okay Anybody object to

3 that?

4 (No response.)

5 DR. MUTMANSKY: Okay. Thank you for that

6 change, Tom. I do think it does clarify it, and so

7 unless there's any objections I'll call for the vote

8 on that.

9 Tom, you vote first.

10 MR. MUCHO: Yes. I have no problem with

11 this.

12 DR. MUTMANSKY: Okay. Jürgen?

13 DR. BRUNE: Yes.

14 DR. MUTMANSKY: Jerry?

15 DR. TIEN: It's going to take out adjacent,

16 right? Okay. Yes.

17 DR. MUTMANSKY: Jerry votes yes.

18 DR. TIEN: Yes.

19 DR. MUTMANSKY: Felipe?

20 DR. CALIZAYA: Yes.

21 DR. MUTMANSKY: Jim?

22 DR. WEEKS: Yes.

23 DR. MUTMANSKY: And I vote yes, so it's a

24 unanimous vote for this particular recommendation as

25 altered, as altered by Tom's new words.

1           Okay. The second recommendation is on belt  
2 maintenance, and I'm not certain who's going to do the  
3 supporting statements, but I see that Dr. Brune is  
4 raising his hand, so, Jürgen, the floor is yours.

5           DR. BRUNE: Is that okay if I read the  
6 recommendation also for the benefit of the audience?  
7 I'm not sure if they all can read the fine print in  
8 the back of the room.

9           DR. MUTMANSKY: Yes, you may.

10          DR. BRUNE: I'll start and read through the  
11 recommendation. It goes beyond what we have listed  
12 here on the sheet. The recommendation reads as  
13 follows:

14                 "The Technical Study Panel strongly  
15 recommends that the Federal Mine Safety and Health  
16 Administration (MSHA) rigorously enforce existing  
17 standards on underground conveyor belt maintenance and  
18 fire protection. The Panel anticipates that rigorous  
19 enforcement by MSHA will result in more consistent  
20 compliance by all operators to these standards.

21                 "This applies with regard to the  
22 availability and functionality of belt fire  
23 suppression systems; the availability and proper  
24 working order of firefighting equipment; the function  
25 of smoke, carbon monoxide and other sensors and alarm

1 systems designed to detect fires in belt entries; and  
2 the training of mine personnel for fighting mine fires  
3 such as conveyor belts. This applies to the other  
4 conveyor belt fire prevention and maintenance items  
5 noted in the discussion section.

6 "MSHA inspectors should also pay particular  
7 attention to the required regular examinations of the  
8 belt lines by mine examiners and ensure that each belt  
9 line is kept in good working order at all times to  
10 prevent belts from rubbing standards, to ensure that  
11 damaged rollers are replaced immediately and that belt  
12 lines are adequately rock dusted and that flammable  
13 materials such as fine coal, coal dust, oil and grease  
14 are not permitted to accumulate along belt lines."

15 This was the wording of the recommendation.  
16 I'm not sure. This first page does not reflect the  
17 paragraph that I read.

18 As far as discussion, the subcommittee  
19 believes that MSHA currently has all the enforcement  
20 tools that they need, but they need to use these tools  
21 and apply these tools towards improving belt line  
22 safety.

23 The Aracoma fire in 2006 was an example  
24 where belt maintenance had not been kept up to  
25 existing and prescribed standards, and that certainly

1 led to the inability of the belt crews to fight this  
2 fire effectively and ultimately may have caused the  
3 death of two miners. It says in the investigation  
4 report that, among other things, mine examiners did  
5 not identify existing hazardous conditions on these  
6 belt lines.

7           The Panel stresses that adequate visual  
8 inspection by examining all belt lines as required in  
9 30 CFR § 75.362 has to be done during each shift that  
10 coal is produced by a certified person who will  
11 examine for hazardous conditions along the belt  
12 conveyor where a belt conveyor is operated.

13           Aracoma also had examples of mismatched hose  
14 connections and valves that were turned off, and both  
15 conditions impeded the ability to fight the fire  
16 effectively. Those things are housekeeping or  
17 examination items that should normally be detected  
18 when a belt line is properly examined.

19           Therefore, we feel it is important to stress  
20 that these examinations have been done both by the  
21 fire bosses and the certified examiners, as well as by  
22 the regular inspectors who inspect the mines.

23           DR. MUTMANSKY: Jürgen, some of MSHA  
24 personnel have recommended that we sort of itemize  
25 some of these issues in this belt maintenance

1 recommendation.

2           I'll read some of the words here. Let's see  
3 if he's going to put the exact words up or not. Are  
4 you going to put those exact words up? Yes. Put that  
5 second paragraph up in particular. You may wish to do  
6 that, Bill.

7           I think the basic idea is just by itemizing  
8 some of these issues we may clarify our recommendation  
9 to a greater extent. You do not have to accept these  
10 changes if you don't wish to, Jürgen, if you feel that  
11 the belt maintenance recommendation is okay as is.

12           DR. BRUNE: Yes. I think in the first  
13 paragraph we have itemized a number of things, for  
14 instance, with regard to availability and  
15 functionality of the belt fire suppression systems,  
16 the availability and proper working order of  
17 firefighting equipment, function of smoke, carbon  
18 monoxide and other sensors and alarm systems and so  
19 on.

20           I think we have a fairly complete itemized  
21 list. I'm not sure if we need to go any further. I  
22 think this recommendation fundamentally goes towards  
23 applying the existing laws and regulations towards  
24 making sure that the belt lines are safe for the  
25 miners.



1 DR. MUTMANSKY: Okay. I'm having Bill put  
2 up the paragraph where he enumerates.

3 DR. BRUNE: Yes.

4 DR. MUTMANSKY: You can accept or reject it.  
5 You're perfectly okay to say that you don't wish to  
6 have it stated that way. That's no problem.

7 I think our biggest point here is to  
8 evaluate the alternative words and see whether or not  
9 you like the alternative words.

10 Jim?

11 DR. WEEKS: The only thing that I think  
12 might be added to the itemized list, and you covered  
13 it later, is control of combustible materials, the  
14 ones that you mentioned later, I think, plus trash.

15 I think trash is a very commonly cited  
16 violation. I don't know how much it contributes to  
17 fires, but common sense would seem that it does.

18 DR. MUTMANSKY: Take a look at the words  
19 that are up there now and see whether or not you like  
20 the way that they're enumerated, whether they're just  
21 repeating what you have said or whether you think we  
22 should --

23 DR. BRUNE: I thought this was the second  
24 paragraph that I read from our recommendation. Other  
25 than the numbers in there, which I believe help

1 identify those items, I think in my opinion we're good  
2 with that.

3 DR. WEEKS: I would just add and trash in  
4 the last sentence somewhere.

5 DR. BRUNE: Oil, grease and trash, yes.

6 DR. MUTMANSKY: Oil, grease and trash?

7 DR. BRUNE: Oil, grease and trash, yes.

8 DR. MUTMANSKY: Okay. Yes. Okay.

9 Personally I like them enumerated myself, but that's  
10 beside the point. It's not a major issue I don't  
11 think.

12 Would you recommend that we accept these.  
13 Felipe?

14 DR. CALIZAYA: Well, I have other comments.

15 DR. MUTMANSKY: All right. Go ahead,  
16 please. Go ahead with your comments.

17 DR. CALIZAYA: The first comment is about  
18 the belt maintenance. It's not really belt  
19 maintenance. It's belt line. I don't know if that's  
20 the word. Conveyor belt and belt entry maintenance.  
21 I think we need to stress both issues.

22 One is the conveyor belt where we are  
23 talking about rollers and other items, and the other  
24 is the belt entry where we have accumulation of dust,  
25 trash and other things. I would recommend to expand

1 the title to Belt Entry and Conveyor Belt Maintenance.

2 Now, I have also another comment that's not  
3 very specific here. It deals with the scheduling. I  
4 work in a mine where we have to stop the mine for a  
5 shift to do the maintenance, especially when it comes  
6 to belt entry. We have an accumulation of dust, and  
7 we saw in several reports that this is one of the  
8 sources of starting the fires, especially when we talk  
9 about friction type fires, so cleanup.

10 I don't know if we can add that scheduling.  
11 I don't know if that's very arduous or not.

12 DR. BRUNE: Well, the law already  
13 prescribes, as I cited earlier, that every belt line,  
14 if coal is loaded on the belt, has to be examined once  
15 by a certified examiner during each shift.

16 Also, if repairs cannot be made immediately  
17 the belt needs to be stopped and shut down until such  
18 repairs can be made.

19 DR. CALIZAYA: Okay.

20 DR. BRUNE: Which is also contained in our  
21 discussion items along with this recommendation.

22 DR. CALIZAYA: Okay. So the scheduling part  
23 is already included, but I would call for that title  
24 change.

25 DR. MUTMANSKY: Jürgen, I think at this

1 point in time we've made some changes here. Can you  
2 accept those changes?

3 DR. BRUNE: Yes. From my perspective, I  
4 don't think there's any substantial changes that have  
5 changed the character of the recommendation.

6 DR. MUTMANSKY: No. I agree. I agree.

7 DR. BRUNE: Right. So, yes, from my  
8 perspective I'm perfectly fine with it. Yes.

9 DR. MUTMANSKY: All right. Now let's open  
10 it up for additional questions, additional thoughts  
11 about whether or not this is an appropriate  
12 recommendation and whether the wording is correct.

13 DR. WEEKS: Just a couple things. We had a  
14 presentation in Pittsburgh that really stressed the  
15 importance of belt maintenance and belt entry  
16 maintenance as a means of preventing fires. I think  
17 we should just take note of that and basically agree  
18 that belt maintenance is a key factor in preventing  
19 fires, and it's important to strengthen it along these  
20 lines.

21 The second issue, and we'll discuss it later  
22 on. This is a recommendation that really goes to the  
23 issue of fire prevention. The existing rule on belt  
24 air ventilation really doesn't address the fire  
25 prevention issue very well at all. Essentially it's

1 oriented towards fire protection and suppression.

2           We felt that was a weakness of the current  
3 rule, and this is one of a couple of entries that  
4 attempts to address the issue of fire prevention.

5           DR. MUTMANSKY: Tom?

6           MR. MUCHO: Yes. Really kind of following  
7 up on what Jim just said, that was the one aspect that  
8 I don't see in that listing there, and that is fire  
9 prevention and the ability to fight fires.

10           I have to say that I didn't do my homework  
11 and look at the law and I'm not totally up to speed,  
12 but things such as the Aracoma incident where the  
13 mismatched couplers didn't allow the fire. I think  
14 the Mine 58 fire in 1988 where someone had shut the  
15 valve on the lateral going to the fire suppression  
16 system.

17           I'm just not sure in terms of the law what's  
18 required in examinations and to what detail and some  
19 of the specificity that there might be there, but in  
20 my days in industry we picked up those things in  
21 mainly safety audit inspections that were done  
22 periodically rather than daily inspections and shift-  
23 by-shift inspections.

24           I almost wonder about some of those things.  
25 First of all, I don't know what's specified in the

1 law, but what maybe should be or thought about.

2 DR. MUTMANSKY: Tom, we are going to take up  
3 a recommendation later on inspections.

4 MR. MUCHO: Okay.

5 DR. MUTMANSKY: I think we should revisit  
6 your comments at that time because the words you said  
7 made me think that indeed that's something that can be  
8 addressed in that recommendation.

9 Jürgen, were you going to speak with Tom?

10 MR. MUCHO: That's good. Now give me a  
11 chance to look at the law and know what I'm talking  
12 about.

13 DR. MUTMANSKY: Okay. Other comments? Any  
14 other thoughts that we should bring up before we  
15 accept these as our final words?

16 (No response.)

17 DR. MUTMANSKY: Linda, are you going to make  
18 me read the whole thing?

19 MS. ZEILER: No, but I would suggest you  
20 read the second paragraph.

21 DR. MUTMANSKY: All right.

22 MS. ZEILER: The first paragraph has not  
23 changed, but the second paragraph did.

24 DR. MUTMANSKY: Okay. The second paragraph  
25 stated here is:

1           "MSHA should pay particular attention to  
2 required examinations of the belt lines by mine  
3 examiners and ensure 1) Each belt line is kept in good  
4 working order at all times to prevent belts from  
5 rubbing standards; 2) Damaged rollers are replaced  
6 immediately; 3) Belt lines are adequately rock dusted;  
7 and 4) Flammable materials such as fine coal, coal  
8 dust, oil, grease and trash are not permitted to  
9 accumulate along belt lines."

10           Does everyone accept that final wording?  
11 Are there any final comments before we take the vote?

12           (No response.)

13           DR. MUTMANSKY: There being no more, let's  
14 go ahead and vote. We'll start with Felipe this time.

15           DR. CALIZAYA: I agree.

16           DR. MUTMANSKY: Jim?

17           DR. WEEKS: Yes.

18           DR. MUTMANSKY: I vote yes.

19           Jerry?

20           DR. WEEKS: Yes. I like the wording, the  
21 modifications. I vote yes.

22           DR. MUTMANSKY: Jürgen?

23           DR. BRUNE: Yes.

24           DR. TIEN: Yes.

25           DR. MUTMANSKY: Okay. That's a six to zero

1 vote, so it's a unanimous vote for the second  
2 recommendation.

3           Let's go to No. 3. We're making good  
4 progress. Thank you for keeping your comments short  
5 and to the point.

6           We will now take the belt flammability  
7 recommendation. Who is going to be the supporting --  
8 Jim, you're up.

9           DR. WEEKS: First I want to give a little  
10 background to this recommendation. It's discussed a  
11 little bit more thoroughly in the discussion section.  
12 I'll just hit a couple of highlights.

13           First of all, every belt fire since 1969 has  
14 occurred on an approved belt, which suggests that the  
15 approval process was not giving us belts that were  
16 capable of preventing fires or controlling fires.

17           Secondly, the current testing protocol has  
18 been identified as limited in a number of ways, the  
19 most visible of which is that it's a very small scale  
20 test, and it doesn't replicate the conditions of the  
21 mine in terms of the size of the belt, the entry, the  
22 ventilation and the like.

23           The current test actually traces its roots  
24 if anyone is interested in the history to a  
25 recommendation in 1955. It's been changed since then,



1 but not to a great extent. Belts, the use of belts  
2 and so on have changed obviously a great deal since  
3 1955.

4           The Bureau began the process of developing a  
5 new test around 1967. The aim was to create a test  
6 that was more indicative of actual mining conditions  
7 in terms of size and ventilation and so on, and the  
8 testing that was done then went through many  
9 revisions, tests, evaluations and scaling down and  
10 evolved to what's called the B-E-L-T, the BELT test.

11           That's an acronym which I forgot exactly  
12 what it stands for, but that's the test that was  
13 developed by the Bureau of Mines and by NIOSH and was  
14 published in the 1980s, the late 1980s. So that's  
15 some historical background that the existing rule on  
16 belt testing for flammability is weak in some specific  
17 respects so that in general belts are a problem when  
18 it comes to fire control.

19           Now moving on to the belt air rules, I  
20 suggested a few minutes ago, and it's true here as  
21 well, that the current belt ventilation rules  
22 basically aim at fire protection and suppression and  
23 are relatively weak in the area of fire prevention.  
24 One way to get to the issue of fire prevention is to  
25 improve the flammability standards on standards for

1 testing and certification for belts, so in large part  
2 that's where the recommendation comes from.

3           Now, MSHA's regulatory history on this,  
4 there was I don't remember whether it was a proposal  
5 or an advance notice of proposal in 1992 I believe,  
6 and then in 2002 or 2004 it was withdrawn, the reason  
7 being that the frequency of belt fires had been  
8 reduced over that time period.

9           It's true. The number of fires has been  
10 reduced, but if we look at the number of fires per  
11 mine it's been basically constant over that period of  
12 time. If you look at it in terms of per tons of coal  
13 reflecting the actual use of fires, there has been a  
14 decline in the frequency of belt fires. It's a  
15 relatively weak decline and so on.

16           So that's the rationale behind recommending  
17 an improved belt flammability test, and that's the  
18 support for this recommendation here; that it's aimed  
19 at fire prevention. I guess I should read it, okay?  
20 All right?

21           "The Technical Study Panel strongly  
22 recommends that MSHA move post haste to revise (as  
23 suggested elsewhere) and repropose and implement the  
24 proposed rule, Requirements for Approval of Flame-  
25 Resistant Conveyor Belts, that was withdrawn in 2002,

1 to significantly reduce the frequency and hazard of  
2 conveyor belt fires in mines that elect to course belt  
3 air to the working face.

4           "The Panel believes the current requirements  
5 for testing and approval of flame-resistant conveyor  
6 belts have proven to be outdated and inadequate to  
7 provide an acceptable level of flame resistance and,  
8 therefore, safety for the U.S. miners based on both  
9 the historical record of conveyor belt fires in the  
10 U.S. and in comparison to general standards of the  
11 global mining community."

12           Now, I have a question for clarification  
13 here. The proposal in 1992, that was the BELT test.  
14 Is that correct?

15           DR. MUTMANSKY: Yes.

16           DR. WEEKS: Okay. I just wanted to clarify  
17 that.

18           DR. MUTMANSKY: Okay. Jim, you prepared a  
19 very long discussion on this. I appreciate that  
20 because there's a lot in there.

21           I would like to mention the fact that one of  
22 the things that greatly affects my thinking on this is  
23 the fact that there are quite a few countries around  
24 the world that have implemented more stringent  
25 standards on belt conveyors than we have in the United

1 States.

2 I believe that that is important evidence to  
3 consider, and I think that if we assess that  
4 adequately this would speak in favor of moving in this  
5 general direction or in the direction of this  
6 particular recommendation.

7 Are there comments? Are there comments now  
8 or questions from the committee? I might mention to  
9 you that the court reporter has asked that you speak  
10 up a bit with a bit more volume because there's been  
11 some problem of hearing your voice come across, so if  
12 you would as you give your comments or as you vote  
13 would you speak up and make certain your voice is  
14 getting into the microphone?

15 All right. Comments or questions? Jürgen?

16 DR. BRUNE: Yes, perhaps one comment to add  
17 to your last comment from the comparison that we found  
18 in one of the presentations -- I believe Mr. Küsel  
19 from Phoenix in the meeting in Pittsburgh -- that  
20 showed that the United States as far as belt  
21 flammability and material specifications lags behind  
22 pretty much every other country in the world with the  
23 number of kind of tests that are required for belts.

24 Europe I believe had the most stringent  
25 tests, but most other countries had some kind of a

1 large scale laboratory test that was required in  
2 addition to the small scale test that is currently  
3 required in the United States.

4           We'll probably get into that discussion  
5 about the drum friction test later on as well, so I  
6 just want to point out that there seems to be an  
7 obvious lack of regulation in the United States as far  
8 as belt flammability is concerned.

9           DR. WEEKS: Yes. Just to emphasize that  
10 point, there's a graphic in the discussion section  
11 that dramatically illustrates the comparison between  
12 the U.S. standards and other standards.

13           DR. MUTMANSKY: Jim, just a question. I  
14 paid very careful attention to that graphic, and when  
15 you study it over it's a convincing argument.

16           Was this the graphic that was put together  
17 by the gentleman from Phoenix?

18           DR. BRUNE: I believe so, yes.

19           DR. WEEKS: Yes, it was.

20           DR. MUTMANSKY: It was? Okay. I just  
21 wanted that for clarification.

22           DR. WEEKS: Yes. We didn't generate that.  
23 We just adopted it.

24           DR. MUTMANSKY: My understanding was that  
25 Harry Verakis gave some additional information to the

1 subcommittee that was working on the belt flammability  
2 issue. Is there anything significantly different from  
3 Harry's presentation to you, Tom?

4 MR. MUCHO: No. In fact, that particular  
5 document that Harry produced was an excellent document  
6 and a good summary of the issue of belt testing, belt  
7 approval, belt flammability and so forth, really up to  
8 date, of course, and very beneficial with those  
9 comments, and it was incorporated into the writing of  
10 this recommendation.

11 DR. WEEKS: It's not clear to me what the  
12 final wording of the discussion is at this point, but  
13 I guess we can work on that later. We don't need to  
14 finalize that now, do we?

15 DR. MUTMANSKY: Finalize what?

16 DR. WEEKS: The discussion of this whole  
17 thing.

18 DR. MUTMANSKY: No. At this point in time,  
19 Jim, we will work on the discussion sections after we  
20 complete all of the votes on the recommendations with  
21 the idea being that we'd like to have Jürgen here for  
22 most of the votes, and we will then work on refining  
23 the discussion sections that go with each of the  
24 recommendations.

25 For those in the audience, just for your

1 information the report will normally be written with a  
2 recommendation that reads with about that many words  
3 and then a discussion section. The discussion section  
4 is basically supporting the recommendation.

5           In addition, anybody who wants to vote  
6 against the recommendation has the opportunity in the  
7 discussion section to present a minority report. In  
8 other words, if I happen to be against this  
9 recommendation and I felt strongly that I had some  
10 valid arguments I could write a page of arguments that  
11 would say I'm not in favor because and then list my  
12 logic there.

13           So as we move forward we may have some  
14 minority reports that will be issued as part of the  
15 process, and it's perfectly okay for a person who  
16 votes against something to present a valid argument in  
17 words in the report.

18           DR. WEEKS: I just want to make one other  
19 comment. A number of people commented on the  
20 discussion section. I think comments were  
21 exceptionally useful and to the point, particularly  
22 the comments that Henry made. I just want to express  
23 my thanks for that.

24           DR. MUTMANSKY: Jerry?

25           DR. TIEN: Jim, you indicated there are a

1 couple comparison numbers and fire incidence per mine  
2 and per tons produced. It's quite useful as a  
3 reference point.

4 I'm just wondering. Do you have any other  
5 numbers for other countries in the world like in  
6 Australia and Europe as a reference point?

7 DR. WEEKS: No. No, I don't.

8 DR. TIEN: Okay. I'm just curious because  
9 obviously the Europeans have more stringent standards,  
10 and other statistics show that.

11 DR. WEEKS: Right.

12 DR. MUTMANSKY: Jürgen, do you have any  
13 thoughts about how it goes in your view since with  
14 your background maybe you have some thoughts?

15 DR. BRUNE: No. Unfortunately, I don't have  
16 any of those statistics either.

17 Typically my experience has been that the  
18 comparison basis for such statistics is extremely  
19 difficult to understand so that if you compare  
20 statistics you need to compare apples to apples, and  
21 that's not always possible because the underlying  
22 denominators are particularly different.

23 DR. WEEKS: And so are the numerators.

24 DR. BRUNE: Yes.

25 DR. WEEKS: Because fires in the past,



1 reported fires are ones that last 30 minutes or more.

2 DR. BRUNE: Yes.

3 DR. WEEKS: A lot of fires that are less,  
4 are shorter --

5 DR. BRUNE: That's one of the differences.

6 DR. MUTMANSKY: Felipe, do you have  
7 something?

8 DR. CALIZAYA: Yes, I have a couple of  
9 comments. I'm not sure about this title.

10 Are we talking about the belt, which is belt  
11 evaluation and laboratory tests? Is that what this  
12 belt flammability --

13 DR. BRUNE: No.

14 DR. CALIZAYA: It's not? It's the conveyor  
15 belt?

16 DR. BRUNE: This is generally conveyor belt  
17 flammability. That's the title, yes.

18 DR. CALIZAYA: Okay. That's one question.  
19 The other question is toxicity. Is this implicit in  
20 the test? Is that another section, or it's not a  
21 requirement?

22 DR. BRUNE: Jim, you may want to comment on  
23 that.

24 DR. WEEKS: Toxicity is not addressed in any  
25 of our recommendations as of right now.

1 DR. MUTMANSKY: Is this recommendation  
2 properly called belt flammability, or should we call  
3 it belt conveyor materials flammability?

4 DR. WEEKS: I mean, what it recommends is an  
5 improvement in the testing and certification of belts,  
6 and maybe it just should be Belt Testing  
7 Certification.

8 Just by way of clarification, but toxicity  
9 you were talking about the toxicity of smoke from belt  
10 fires?

11 DR. CALIZAYA: Yes.

12 DR. WEEKS: No. We didn't address that.

13 DR. CALIZAYA: Well, regarding this point I  
14 think at least to me based on the hearings we had  
15 before we should address that point of toxicity.

16 We know that it's the fumes that will cause  
17 any accidental death that we may have in mines. If we  
18 have toxic fumes then definitely we are allowing that  
19 to take place.

20 DR. MUTMANSKY: Go ahead, Tom.

21 MR. MUCHO: In terms of toxicity there was  
22 some talk about it during our meetings and so forth,  
23 but certainly from my opinion we didn't get into the  
24 detail that one would need to get into I think to make  
25 a firm recommendation to that.

1           Quite frankly, at least it's certainly my  
2 opinion that belt toxicity, while it would be some  
3 concern, is really not a major concern. In most of  
4 our fire situations, as I think Dr. Kissell talked  
5 about this, the first whiffs of smoke and so forth,  
6 people are moving and out of it.

7           Really the exposure, as he pointed out quite  
8 well, to toxicity, I can't think of anywhere where  
9 that's been an issue. The main issue has been escape  
10 or other things because of smoke.

11           Given our look at it, which is so brief, I  
12 don't think we can really make a recommendation.  
13 Quite frankly, I don't think it's that major of an  
14 issue in terms of these kinds of emergencies. That's  
15 at least my opinion.

16           DR. WEEKS: The principal toxic agent that's  
17 of most concern is carbon monoxide. I mean, there are  
18 a lot of irritants in smoke, but it's carbon monoxide  
19 that's the issue. That to some extent or to a great  
20 extent is addressed with the self-contained self-  
21 rescuers and the W-65 rescuer as well.

22           You were thinking of irritant smoke, gases,  
23 hydrochloric acid and the like?

24           MR. MUCHO: Yes.

25           DR. WEEKS: Yes. I think the CO would

1 probably get you before those would; at least that was  
2 the information that we received in Pittsburgh.

3 MR. MUCHO: There's been research done. I  
4 can think of a few Bureau of Mines studies on the  
5 toxicity, and basically while there's some of these  
6 toxics like HCL and so forth, really with the dilution  
7 and so on if a person is exposed to it to the point  
8 where it's going to be hazardous to them they've got a  
9 bigger problem than that toxicity. That's the most  
10 minor of their issues.

11 DR. MUTMANSKY: Okay. I'd like you to look  
12 at the title that you see on the recommendation here,  
13 Belt Conveyor Testing and Certification. Is that a  
14 better title for this recommendation?

15 Tom, what do you think?

16 MR. MUCHO: Well, the certification. I  
17 think it's testing and approval. I think from a  
18 technical standpoint that should be the title.

19 DR. MUTMANSKY: Testing and Approval.

20 DR. BRUNE: Yes.

21 DR. MUTMANSKY: So the recommendation then,  
22 Tom, is that we change this to Conveyor Belt Testing  
23 and Approval? Is that it?

24 MR. MUCHO: Yes.

25 DR. MUTMANSKY: I like that. It's a little

1 bit more appropriate title for the recommendation. I  
2 think that's a good idea. I think it's a good word  
3 change.

4 Does anybody have any objection to that word  
5 change?

6 DR. BRUNE: Should we make it Flammability  
7 Testing and Approval because, I mean, we have other  
8 tests like the drum friction test that is going to be  
9 discussed later. This is fundamentally flammability  
10 testing.

11 DR. MUTMANSKY: I think that's even better  
12 yet. Perhaps we're approaching a good title here.

13 DR. BRUNE: Okay.

14 DR. MUTMANSKY: I like it better. It's a  
15 more appropriate title.

16 Anybody object to it?

17 DR. TIEN: Yes. I'm just thinking out loud.  
18 Would that address or kind of negate his point of  
19 toxicity?

20 DR. MUTMANSKY: Well, it doesn't address it,  
21 but we're not attempting to address it.

22 DR. TIEN: Or should we mention that as a  
23 reflection of the discussion we had since it's not a  
24 concern so people don't think we left it out?

25 DR. WEEKS: Well, we don't want to say it's

1 not important.

2 DR. TIEN: Yes. Some people might come in  
3 and look at it and say oh, you forgot about it.

4 DR. WEEKS: That's right. Well, they did.  
5 Felipe did.

6 DR. MUTMANSKY: All right. I want to move  
7 forward if there are no objections to that.

8 Are there any final comments? Are there any  
9 final word changes that we should execute at this  
10 point in time?

11 Keep in mind while we can change the  
12 discussion paragraphs that support this once this has  
13 been approved here in public by a vote of the panel it  
14 has to stay that way so we can't change this later.  
15 On Wednesday morning or Wednesday afternoon we can't  
16 say gee, we need a little bit of a change here. We  
17 have to make our changes now.

18 Let's read that through. I'll read it  
19 through again before we get to the voting.

20 "The Technical Study Panel strongly  
21 recommends that MSHA move post haste to revise (as  
22 suggested elsewhere in this report) and repropose and  
23 implement the proposed rule, Requirements for Approval  
24 of Flame-Resistant Conveyor Belts, that was withdrawn  
25 in 2002, to significantly reduce the frequency and

1 hazard of conveyor belt fires in mines that elect to  
2 course belt air to the working face.

3           "The Panel believes that current  
4 requirements for testing and approval of flame-  
5 resistant conveyor belts have proven to be outdated  
6 and inadequate to provide an acceptable level of flame  
7 resistance and, therefore, safety for U.S. miners  
8 based on both the historical record of conveyor belt  
9 fires in the U.S. and in comparison to general  
10 standards of the global mining community."

11           Now that I read it I see one thing missing.  
12 Are we recommending this for all belt conveyors  
13 throughout U.S. coal mines?

14           DR. BRUNE: I think the next one will  
15 address that.

16           DR. MUTMANSKY: The next one will address  
17 that? Okay.

18           DR. BRUNE: The next recommendation will  
19 address that.

20           DR. WEEKS: The short answer is yes. I  
21 don't know that it's in --

22           DR. BRUNE: Right. And I don't think it  
23 should be in there because we decided to make that a  
24 separate point.

25           DR. MUTMANSKY: All right. I have no

1 problem with that. Okay. I'm glad that's taken care  
2 of.

3 MR. MUCHO: Actually in the discussion  
4 section on this we include that, and then we put in a  
5 second one just because we felt it should be discussed  
6 separately and not a point that's missed.

7 DR. MUTMANSKY: All right. I have no  
8 problem.

9 Jerry?

10 DR. TIEN: Yes. I was reading that, and I  
11 just wonder if I'm reading it wrong.

12 If you read the last part of the fourth  
13 line, that was withdrawn in 2002 to significantly  
14 reduce the frequency of fire hazards.

15 DR. BRUNE: No.

16 DR. MUTMANSKY: You're reading the sequences  
17 of words as if they're sentences. You have to read  
18 the whole sentence I think, Jerry.

19 DR. BRUNE: You could maybe put a semicolon  
20 there.

21 DR. MUTMANSKY: If it's unclear let's pursue  
22 it.

23 DR. TIEN: Can you add a colon or semi-colon  
24 or something?

25 DR. BRUNE: Yes. You may want to put a



1 semi-colon after the parenthesis after 135 to clarify  
2 that.

3 DR. TIEN: Yes.

4 DR. BRUNE: That's a good point.

5 DR. WEEKS: Well, then you need to make it a  
6 complete sentence, which it isn't once you put the  
7 semi-colon.

8 DR. MUTMANSKY: That's correct.

9 DR. WEEKS: The aim is to significantly  
10 reduce, et cetera.

11 DR. BRUNE: Yes, you could do that. Make a  
12 full stop there and then start a new sentence.

13 DR. TIEN: That's better.

14 DR. MUTMANSKY: The aim or the objective.  
15 Which is a better word? Objective?

16 DR. BRUNE: Yes.

17 DR. MUTMANSKY: Is to significantly reduce.

18 DR. BRUNE: Yes. I think that clarifies it.

19 DR. MUTMANSKY: I think that is a better way  
20 of expressing it, Jerry. "The objective is to  
21 significantly reduce the frequency and hazard of  
22 conveyor belt fires."

23 All right. Any other word changes?

24 DR. WEEKS: Well, no other word changes,  
25 but, Jerry, did you have some more to say about the

1 toxicity of smoke? I don't want to let this issue  
2 just get shoved under the rug.

3 DR. TIEN: Yes, but obviously we are.

4 DR. WEEKS: Well, we don't have to though.

5 DR. TIEN: Yes. How are we going to address  
6 that -- I'm just curious -- to reflect our concern?  
7 We recognize that. We did not forget about it, but  
8 because of the situation Tom described you weren't  
9 able to address that properly or something.

10 DR. WEEKS: I don't have an answer for that.

11 DR. TIEN: Does that make sense to you, Tom?

12 DR. BRUNE: Are we addressing it in the  
13 discussion somewhere?

14 DR. MUTMANSKY: Toxicity? No.

15 DR. WEEKS: No. No, it's not in there at  
16 all.

17 DR. TIEN: I don't think we did.

18 DR. WEEKS: Maybe we could discuss this at  
19 the break or something and figure out some way. I  
20 mean, conceivably we could come up with another  
21 recommendation. I don't know. How do we do this,  
22 Jerry?

23 DR. MUTMANSKY: That's a very good question,  
24 Jim.

25 First of all, I don't recall. We had some

1 discussions on toxicity in our meeting in Pittsburgh.

2 DR. WEEKS: Right. Right.

3 DR. MUTMANSKY: And I don't remember the  
4 details of that discussion. I believe when they  
5 talked about chlorides in the belt there was some  
6 discussion about toxicity.

7 DR. BRUNE: Yes. There's that, and there's  
8 also the potential presence of arsenic and other heavy  
9 metals that are used in flame resistant rubber  
10 compositions, so that may also be a toxicity concern.

11 DR. WEEKS: As I recall, the summary that  
12 Tom gave a couple minutes ago I think accurately  
13 reflects what we received in Pittsburgh, and that is  
14 that there are a lot of toxic materials in smoke.

15 The one of principal concern is carbon  
16 monoxide. I don't know exactly how Tom put it, but  
17 that's the way I recall it was presented to us in  
18 Pittsburgh.

19 Based on that, I guess we decided to not  
20 discuss it. I don't know. Perhaps we could talk  
21 about that some more not in this setting, but at the  
22 break.

23 DR. MUTMANSKY: Well, I think we may have  
24 gotten the basic idea early on that the CO is really  
25 what the real culprit is.

1 DR. BRUNE: Yes.

2 DR. MUTMANSKY: It's the one that's going to  
3 show itself earliest in human beings, and maybe that  
4 was perhaps part of the thinking as you went through  
5 this.

6 DR. TIEN: Yes, and it stayed somewhat to --

7 DR. MUTMANSKY: Jim, we can perhaps look at  
8 some of those materials again.

9 One of the things we can do is look at the  
10 materials from the Pittsburgh meeting again this  
11 evening and peruse them for possible additional  
12 discussion points where we may propose another  
13 recommendation. What are you doing this evening, Jim?

14 DR. WEEKS: You tell me.

15 DR. MUTMANSKY: If you're concerned about  
16 it, I would recommend that you review those and we can  
17 either discuss it in subcommittee as we've done all  
18 the other recommendations, or you could bring it to  
19 the panel at some time tomorrow during our  
20 deliberations tomorrow.

21 DR. WEEKS: In the interest of domestic  
22 tranquility, I may need to go home to do this  
23 research.

24 DR. MUTMANSKY: That's fine.

25 DR. WEEKS: Okay.

1 DR. MUTMANSKY: We'll permit that much  
2 leeway. Thank you. Perhaps we can also do it here as  
3 well just simply to assure ourselves that we're not  
4 overlooking an important issue in this matter.

5 Are we close enough yet that we can take a  
6 vote on this recommendation? I think the rewording  
7 helps the recommendation. I like that. Are there any  
8 other final comments before we take the vote on this  
9 particular No. 3 recommendation?

10 DR. TIEN: Is this recommendation complete  
11 without addressing that? I just don't know.

12 DR. BRUNE: I would say yes for this  
13 recommendation with the title. I mean, it addresses  
14 flammability and testing and approval. If you want to  
15 address toxicity, I believe that should go into a  
16 separate recommendation.

17 DR. TIEN: Okay.

18 MR. MUCHO: Yes. Just to follow up on that,  
19 we have another recommendation regarding other tests  
20 which test for other things.

21 DR. BRUNE: Yes.

22 MR. MUCHO: We at least briefly address  
23 them, like static electricity and so forth. That  
24 would be where we belong anyway.

25 DR. BRUNE: Yes.

1 DR. MUTMANSKY: That comes up in two  
2 recommendations.

3 MR. MUCHO: Yes. That's the next one.

4 DR. MUTMANSKY: So we will be discussing  
5 that sometime today I would guess.

6 Okay. Are we ready for the vote, gentlemen?  
7 Tom, you're to vote loudly and distinctly so the  
8 court reporter --

9 MR. MUCHO: Yes.

10 DR. MUTMANSKY: Thank you, Tom.

11 THE REPORTER: Thank you.

12 DR. MUTMANSKY: Jürgen?

13 DR. BRUNE: I vote yes.

14 DR. TIEN: Yes. Jerry Tien.

15 DR. MUTMANSKY: I vote yes.

16 DR. WEEKS: Yes.

17 DR. CALIZAYA: Yes.

18 DR. MUTMANSKY: All six members of the panel  
19 have voted yes on this particular issue.

20 We will go to the next recommendation,  
21 Improved Fire Resistance Standards For All Mines.  
22 Jürgen will be the person who will make the proposal  
23 to us.

24 DR. BRUNE: Yes. This recommendation is an  
25 outgrowth of the previous recommendation, and we have

1 discussed it in the discussion section for that  
2 recommendation, but we wanted to make it a specific  
3 point that the improved fire resistance for belts is  
4 so important that it should not only apply to those  
5 belts that are ventilated towards the face, but to all  
6 belts for coal mines.

7           The only reason we restricted it to coal  
8 mines is that the charge of this committee is  
9 restricted to coal mines, so we cannot go beyond that.  
10 This is essentially to make a specific point to make  
11 the flammability requirements valid and binding for  
12 all mines, for all coal mines, all underground coal  
13 mines.

14           I'll read this. "Like previous committees  
15 dealing with belt air topics, this Panel feels  
16 strongly that the conveyor belt flame resistance  
17 testing and standards recommendation in this report  
18 for mine," and that should be mines, "that course belt  
19 air to the working section should also be extended by  
20 MSHA to all underground U.S. coal mines."

21           DR. MUTMANSKY: I'm worried about the word  
22 should in there. Let's see. Should also be extended.

23           DR. BRUNE: I think at some point we said  
24 shall also be extended. That may be a grammar thing.  
25 I thought it was shall.

1 DR. MUTMANSKY: Should the word must be  
2 substituted, or should it be shall?

3 DR. BRUNE: No. I think it should be shall.

4 DR. MUTMANSKY: It should be shall. Okay.

5 DR. BRUNE: It was mentioned in one of the  
6 reviewer's comments.

7 DR. MUTMANSKY: Yes.

8 DR. WEEKS: I think the reasoning behind  
9 this recommendation is sort of very straightforward.  
10 I think there are two reasons. One is belt fires  
11 occur in all belt entries. The Aracoma belt fire was  
12 not in a ventilating belt entry, for example, first of  
13 all.

14 Second of all, it would be, quite frankly, a  
15 regulatory nightmare to have one set of approval for  
16 the 40 mines that used belt air for ventilation and  
17 another set of approvals for everybody else. In order  
18 to avoid that, this should just cover it across the  
19 board.

20 DR. MUTMANSKY: Jerry, do you have a  
21 comment?

22 DR. TIEN: Yes. Just curious. Like Jürgen,  
23 obviously English is not our first language. I'm just  
24 curious. I've also been at the university too long.

25 The last sentence. Which one is better,



1 MSHA to all underground U.S. coal mines or to all U.S.  
2 underground coal mines, or do they mean the same?

3 Probably.

4 DR. MUTMANSKY: What are the two  
5 alternatives, Jerry?

6 DR. TIEN: Switch the U.S. and underground  
7 around.

8 DR. WEEKS: Tweedle Dee or Tweedle Dum? I  
9 mean, I think they're the same.

10 DR. BRUNE: I think that's pretty much the  
11 same.

12 DR. TIEN: Yes.

13 DR. WEEKS: That's from a nursery rhyme used  
14 in English.

15 DR. MUTMANSKY: Okay. I think it is  
16 important to consider the wording. I know that you  
17 corrected some of my recommendations for wording and  
18 they were better after you corrected them, so if you  
19 have those kinds of thoughts let's make certain that  
20 we get them into the recommendations at this time  
21 before we do any voting.

22 DR. TIEN: It's fine either way.

23 DR. MUTMANSKY: One thing. One point of  
24 clarification. You say, "Like previous committees  
25 dealing with the belt air topic..." Are you referring

1 to the 1992 committee? Is that what you're saying?

2 DR. WEEKS: That's what you wanted, right?  
3 Wasn't that the Belt Air Advisory Committee, or was  
4 that the CEDR?

5 DR. BRUNE: Yes. I'm not sure if that first  
6 half of the sentence is really necessary for the  
7 recommendation. We could start it with, "This Panel  
8 feels strongly that the..."

9 DR. WEEKS: Yes.

10 DR. MUTMANSKY: I think you're right.

11 DR. BRUNE: This Panel recommends it. It's  
12 irrelevant to some extent what previous committees  
13 discussed. Yes.

14 DR. MUTMANSKY: Okay. I think it's helpful  
15 to do it that way.

16 DR. BRUNE: Yes.

17 DR. CALIZAYA: One comment.

18 DR. MUTMANSKY: A comment, Felipe? Speak  
19 into the mic.

20 DR. CALIZAYA: It has to do with the title.  
21 It says standards for all mines.

22 DR. BRUNE: All underground coal mines.

23 DR. CALIZAYA: All underground coal mines.  
24 Maybe that would help.

25 DR. BRUNE: Yes.

1 DR. CALIZAYA: And how about overland  
2 conveyors? Do we have any tests?

3 Jim mentioned a few minutes ago generalizing  
4 from the belt to all underground mines. The same  
5 conveyors are used for overland conveyor belts. Are  
6 we going to have another set of rules for overland  
7 conveyors?

8 MR. MUCHO: First of all, the thing of it is  
9 if we have a fire in an overland conveyor it's not the  
10 safety issue that a conveyor belt underground is.

11 It kind of gets like some fires in metal  
12 mines where it's let it burn. The biggest hazard  
13 would probably be firefighting type hazards maybe.

14 So from a safety standpoint, I don't think  
15 it's something we want to get into as the Panel to  
16 recommend it. I think MSHA would exercise some  
17 discretion into what all they might additionally  
18 include in their recommendation, but I don't think  
19 that we as the Panel need to get into that.

20 DR. WEEKS: Yes. I think our charter is  
21 limited to underground mines anyway.

22 MR. MUCHO: Right.

23 DR. WEEKS: I mean, you still have over  
24 ground --

25 MR. MUCHO: Well, the overland conveyors.

1 DR. WEEKS: Yes.

2 MR. MUCHO: You can argue that's part of the  
3 underground mine.

4 DR. WEEKS: Right.

5 MR. MUCHO: I don't think we need to make  
6 that distinction or as fine a point at this point for  
7 us.

8 DR. MUTMANSKY: Okay. Other questions now?  
9 Other thoughts before we vote on this?

10 (No response.)

11 DR. MUTMANSKY: We've made some changes.  
12 We're now calling this Improved Fire Resistance  
13 Standards For All Underground Coal Mines.

14 "This Panel feels strongly that the conveyor  
15 belt flame resistance testing and standards  
16 recommendation in this report for mines that course  
17 belt air to the working section shall also be extended  
18 by MSHA to all underground U.S. coal mines."

19 Should there be a hyphen between flame and  
20 resistance there?

21 DR. BRUNE: No.

22 DR. MUTMANSKY: No? Okay.

23 Anybody else? Any other thoughts?

24 (No response.)

25 DR. MUTMANSKY: Gentlemen, are we ready for

1 voting on this?

2 Felipe, you vote first this time.

3 DR. CALIZAYA: I vote for it, yes.

4 DR. MUTMANSKY: Yes.

5 Jim?

6 DR. WEEKS: Yes.

7 DR. MUTMANSKY: I vote yes.

8 Jerry?

9 DR. TIEN: Yes.

10 DR. BRUNE: Yes.

11 MR. MUCHO: I'll make it unanimous with a  
12 yes.

13 DR. MUTMANSKY: Thank you, Tom. Thank you.

14 We've gotten through four of our  
15 recommendations now. We'll take a break this morning,  
16 but I think we're rolling forward, and I don't want to  
17 stop the momentum here so let's try to take a couple  
18 more of our recommendations before we break for this  
19 morning.

20 The No. 5 recommendation is on Other Belt  
21 Tests. Who is going to present this one? Jim?

22 DR. WEEKS: First a little background.  
23 About a quarter of belt fires in underground coal  
24 mines are started by frictional ignition, which  
25 suggests that some way of preventing that type of

1 ignition would be useful.

2           Secondly, addressing specifically the drum  
3 friction test this test evaluates belts for whether or  
4 not a fire will ignite due to friction. The BELT test  
5 basically tests flame propagation and assumes the belt  
6 is already ignited. In fact, it's ignited by a bunsen  
7 burner or something like that.

8           So given those two factors and the fact that  
9 most other coal mining countries employ a drum  
10 friction test already, to bring us up to speed we're  
11 recommending that MSHA adopt a drum friction test as  
12 well.

13           Now, there's a problem with this  
14 recommendation. Initially I think on the subcommittee  
15 we said well, we should just recommend that MSHA adopt  
16 the drum friction test, but then the obvious fact was  
17 well, what exactly does that mean? There's nothing  
18 off the shelf like the BELT test about the size of the  
19 drum, speed of rotation, how long it runs, et cetera,  
20 et cetera, and all the sort of experimental details  
21 that are needed to make a test valid.

22           So after a fair amount of discussion in the  
23 subcommittee we came to the conclusion, sort of a  
24 compromise conclusion, that we should recommend that  
25 MSHA adopt a drum friction test, basically taking it

1 from some of the international coal mining countries,  
2 some other coal mining country that already uses it,  
3 do it for a couple of years, do whatever laboratory  
4 experimentation is necessary to evaluate and validate  
5 a test and then after two years determine whether to  
6 persist or modify or whatever with the drum friction  
7 test.

8           So that's basically the thinking behind this  
9 particular recommendation and why it's recommended in  
10 terms of two years, evaluate and decide what to do  
11 after that point. The need is there, given the  
12 frequency of frictional ignition, and it's important  
13 to try and address that and develop belts that will  
14 not ignite in that particular way or cause an ignition  
15 in that particular way.

16           MR. MUCHO: One thing I want to point out on  
17 this. In this evaluation and so forth I think at  
18 least the Panel has in mind here -- maybe all the  
19 Panel doesn't, but at least the subcommittee has in  
20 mind -- that NIOSH would probably be involved in some  
21 of the research and so on to assist MSHA with this  
22 evaluation, so in essence I think the panel is  
23 recommending that NIOSH do some work here too.

24           I don't know where that gets to in terms of  
25 the scope of our charge, but I guess we can recommend

1 that NIOSH do some things too and do it quickly for  
2 our timeframe.

3 DR. WEEKS: Did you want to change the words  
4 to reflect that?

5 MR. MUCHO: I don't think we need to change  
6 the words. I just wanted to point that out on the  
7 record.

8 DR. WEEKS: Yes. I was certainly assuming  
9 that.

10 DR. BRUNE: I would also like to point out  
11 that based on the statements that we heard from the  
12 manufacturers that pretty much all manufacturers are  
13 able to produce belt materials that pass this drum  
14 friction test in one or another shape.

15 I'm personally of the opinion that any drum  
16 friction test is initially suitable to provide this  
17 frictional resistance that Jim correctly pointed out  
18 as the cause for many of the belt fires, and I think  
19 the subcommittee at least felt that any friction test  
20 is better than requiring none.

21 So let the research and let the experience  
22 show in the next two years how that leads to a  
23 hopefully reduction in friction-related belt fires and  
24 then we'll evaluate it after two years ago.

25 DR. WEEKS: Just one historical thing that I



1 neglected to mention.

2           Originally there was a drum friction test.  
3 By originally I mean going back to the 1950s. There  
4 was a drum friction test, but as I understand the  
5 historical development what happened there was that  
6 any test that passed the flame propagation test would  
7 also pass the drum friction test so it was considered  
8 somewhat redundant.

9           But since that time many, many things have  
10 changed, belt materials, if the BELT test is adopted  
11 the testing, the testing method is adopted and so on,  
12 so it's appropriate to revisit the issue. It wasn't  
13 discarded in the past. It wasn't neglected in the  
14 past. There was a reason for it.

15           MR. MUCHO: Yes. Just to add on, the title  
16 is Other Belt Tests. The Panel did consider the other  
17 belt tests. As Jürgen especially has pointed out,  
18 there are a number of belt tests out there, a number  
19 of them required by other countries. We looked at  
20 those, basically some types of gallery tests. I  
21 mentioned the static electricity test.

22           Bottom line is the Panel didn't consider  
23 that any of these other tests ought to be recommended.  
24 We just didn't see that there was any evidence that  
25 those types of issues needed to be evaluated. For

1 example, static electricity in U.S. coal mines, as  
2 noted in Harry Verakis' August 2007 document, has not  
3 been an issue in U.S. coal mines.

4           Testing for the sake of testing is hard to  
5 recommend, so we didn't recommend any of the other  
6 tests. As we previously discussed and addressed,  
7 there's certainly nothing in the toxicity area.

8           DR. MUTMANSKY: Okay. Tom, originally this  
9 recommendation had a three-year period in it. Now  
10 it's written as two years. Can you just bring us up  
11 to date? Why was that done?

12           MR. MUCHO: Yes. In a comment by Harry  
13 Verakis, Harry felt that you could get it done in two  
14 years. We were just trying to put forth a realistic  
15 timeline, and so if MSHA and NIOSH can get that  
16 accomplished in two years I think that's great.

17           DR. MUTMANSKY: Okay. All right.

18           DR. WEEKS: Although we have to note that it  
19 took 10 years for the proposal to withdraw that.

20           DR. MUTMANSKY: Well, that's an interesting  
21 comment, but I suspect it was not a research issue.  
22 There may have been other issues there. It's hard to  
23 say.

24           DR. WEEKS: That's all right. It's a good  
25 job.

1 DR. MUTMANSKY: So at this point in time are  
2 we satisfied with the title Other Belt Tests? Is that  
3 okay?

4 DR. CALIZAYA: I have one comment.

5 DR. MUTMANSKY: Yes?

6 DR. CALIZAYA: I think this issue is really  
7 about drum tests and we don't have any other issue, so  
8 the title should reflect that, Drum Friction Test.

9 DR. BRUNE: We discussed that, Felipe, but  
10 we also, like Tom pointed out, did discuss and have  
11 included in our discussion comments and have  
12 acknowledged that other belt tests do exist and other  
13 countries require those, but out of those other tests  
14 we only focus on and see value and merit in the drum  
15 friction test, so that's why we labeled it Other Belt  
16 Tests.

17 MR. MUCHO: Felipe, just to add a point,  
18 really what we're looking at there is other belt tests  
19 or other things we need to measure tests for and so  
20 forth and so from the Panel's viewpoint, quite  
21 frankly, the testimony the Panel had from a lot of the  
22 experts in the field tended to indicate that belt fire  
23 resistance could be well tested with just the gallery  
24 test, the BELT test.

25 From a materials science standpoint maybe

1 that's true and maybe that's not true. We certainly,  
2 as Jim pointed out for reasons he gave, looked at the  
3 drum friction test, but we were looking at the world  
4 of what else do we need to look at regarding the  
5 approval of conveyor belts.

6 DR. MUTMANSKY: Okay. So we're okay with  
7 the title unless Felipe has an objection.

8 Felipe, I think the logic is we're  
9 considering a number of other belt tests, but only  
10 recommend that the drum friction test be implemented  
11 on a research basis. Is that correct?

12 MR. MUCHO: As another test to the flame  
13 propagation test.

14 DR. MUTMANSKY: Is that okay with you now?

15 DR. CALIZAYA: Yes.

16 DR. MUTMANSKY: All right. Any other word  
17 changes?

18 (No response.)

19 DR. MUTMANSKY: Any other words changes?

20 Let's read this. Let me read it.

21 "Other Belt Tests. The Technical Study  
22 Panel recommends that MSHA adopt a drum friction test  
23 to be utilized for a period of two years to evaluate  
24 and assess the contribution requiring such a test for  
25 flame-resistance approval might make to conveyor belt

1 fire safety. Continuance of this test would be based  
2 on the MSHA evaluation at the end of this time  
3 period."

4           Excuse me for stumbling on the words there,  
5 but that's okay. I want to mention that flame-  
6 resistance here, flame-resistance approval, has a  
7 hyphen in it here. In the last recommendation it did  
8 not.

9           We would make it uniform, I guess. I assume  
10 we should. I sort of like it in there myself.

11           MR. MUCHO: Our reviewers didn't catch that.

12           DR. MUTMANSKY: All right. So do we take  
13 the hyphen out? Let's take the hyphen out. We'll go  
14 with that.

15           DR. TIEN: What does it mean, might make to  
16 conveyor belt fire safety?

17           DR. BRUNE: The contribution.

18           DR. MUTMANSKY: The contribution.

19           DR. BRUNE: It's a correct sentence.

20           DR. MUTMANSKY: The contribution is the  
21 subject that might make to conveyor belt fire safety.  
22 Such a test might make to conveyor belt safety. The  
23 test. I don't know.

24           DR. WEEKS: It's two sentences.

25           DR. MUTMANSKY: We could reword that, Jerry.

1 Give me a better wording. We'll be quick. Are you  
2 okay with the wording?

3 DR. TIEN: Requires or require? Either you  
4 drop that or make it requires.

5 DR. BRUNE: You could also say assess the  
6 contribution to fire belt safety that requiring such a  
7 test might make. Assess the contribution to conveyor  
8 belt safety that requiring such a test for flame  
9 resistance approval might make.

10 DR. MUTMANSKY: It brings the conveyor belt  
11 fire safety right to the contribution there.

12 DR. BRUNE: Right.

13 DR. MUTMANSKY: So that may make it better.  
14 Let's try that. Let's try that and see if everybody  
15 is okay with that.

16 DR. BRUNE: Yes.

17 DR. TIEN: Requiring or requires?

18 DR. MUTMANSKY: Why not say and assess the  
19 contribution to conveyor belt fire safety of such a  
20 test. Of such a test.

21 DR. WEEKS: Yes, you could do that too.

22 DR. MUTMANSKY: Does everybody like that?  
23 Let's try that one, Bill.

24 DR. BRUNE: Now we're getting to the minor  
25 changes.

1 DR. MUTMANSKY: Let's read it one more time  
2 and see if we're okay with the wording.

3 "The Technical Study Panel recommends that  
4 MSHA adopt a drum friction test to be utilized for a  
5 period of two years to evaluate and assess the  
6 contribution requiring the conveyor belt fire safety  
7 of such a test. Continuance of this test would be  
8 based on the MSHA evaluation at the end of this time  
9 period."

10 Are we okay with that? Everybody like the  
11 wording?

12 (No response.)

13 DR. MUTMANSKY: Any final comments here? Do  
14 we have final comments that we want to make at this  
15 point in time?

16 (No response.)

17 DR. MUTMANSKY: Anybody have any other  
18 wording changes?

19 (No response.)

20 DR. MUTMANSKY: Are we ready to vote on  
21 this? Okay. I'm going to vote on this, and we'll go  
22 to Jim next.

23 DR. WEEKS: Yes.

24 DR. MUTMANSKY: Felipe?

25 DR. CALIZAYA: Yes. Yes, I agree.

1 DR. MUTMANSKY: Tom?

2 MR. MUCHO: Yes.

3 DR. MUTMANSKY: Jürgen?

4 DR. BRUNE: Yes.

5 DR. MUTMANSKY: Jerry?

6 DR. TIEN: Yes.

7 DR. MUTMANSKY: Okay. The vote is  
8 unanimous. This recommendation passes as worded here.

9 Let's take one more recommendation before  
10 our break. Recommendation No. 6 is in many ways not a  
11 very controversial one, Coordinating Belt Testing With  
12 Other Countries.

13 Who is going to propose this one? Tom?

14 MR. MUCHO: No.

15 DR. MUTMANSKY: Jim? Jim, you're up. Okay.

16 DR. WEEKS: Okay. The rationale behind this  
17 is quite straightforward. The coal industry, the  
18 mining industry, is a global industry. Commodities  
19 are sold in a global marketplace, machinery is sold in  
20 a global marketplace, et cetera, so it makes sense to  
21 have a certain level of consistency amongst machinery  
22 and products and so on.

23 Originally we had a tighter recommendation  
24 and that is that the MSHA rule for testing and  
25 approval should be essentially the same as used in



1 other countries. Well, the same as essentially  
2 doesn't exist. I mean, there's a great deal of  
3 diversity internationally. The European Union, for  
4 example, does not have a consistent set of standards.

5           Consequently, it was loosened up a bit and  
6 basically recommended that MSHA pay attention to  
7 what's going on in the international marketplace and  
8 coordinate the development of testing approval with  
9 that kind of consideration in mind, so that's the  
10 rationale behind it.

11           DR. MUTMANSKY: Jim, in reading the  
12 discussion points I note that it's mentioned here,  
13 "However, noting that the European community has not  
14 been able to accomplish this, given the impetus to do  
15 so that they have, the Panel did not believe a  
16 meaningful, practical recommendation could be made."

17           Are you basically saying that the European  
18 community has tried to bring about this international  
19 cooperation?

20           DR. WEEKS: Yes, on that and a number of  
21 issues. Yes, that's something that's a major concern.  
22 International standards are everything.

23           DR. MUTMANSKY: Yes.

24           DR. WEEKS: I don't know how far they've  
25 gotten on that.

1 DR. MUTMANSKY: Nowhere.

2 DR. WEEKS: Nowhere?

3 DR. MUTMANSKY: Nowhere.

4 DR. WEEKS: I mean, the recommendation is  
5 that MSHA simply pay attention to what's going on  
6 internationally. I mean, if you want to put it in  
7 plain English, that's the recommendation.

8 DR. MUTMANSKY: I would like even a stronger  
9 statement actually, but I can see that MSHA is not in  
10 a position to command anybody to do anything.

11 That is, MSHA can suggest to people in other  
12 parts of the world that there's a need for such a  
13 standard, but what else can they do other than  
14 suggest?

15 DR. BRUNE: MSHA works in other areas and so  
16 do other U.S. organizations work with international  
17 standard organizations so there is certainly a  
18 possibility for cooperation.

19 But I agree with Jim. Looking at the  
20 struggle that the European community has not only in  
21 this particular area but with other regulations too,  
22 it's going to be difficult to recommend specific  
23 regulations to be adopted in this country like they  
24 are used in other countries.

25 The question is which one do you pick and

1 why do you pick it, but at least by paying attention  
2 to developments, especially to new scientific  
3 breakthroughs and research results in other countries,  
4 I think we can make a contribution to improving the  
5 safety of U.S. belt installations as well.

6 I think this is where this recommendation  
7 goes. I mean, I mentioned earlier that based on the  
8 comparison that one of the manufacturers showed we  
9 currently are at the very low end of requiring  
10 standards for belt flammability and belt fire safety  
11 compared to other countries, and I think we ought to  
12 be up there at least in the middle, if not on the high  
13 end.

14 DR. MUTMANSKY: Okay.

15 DR. TIEN: Yes. I would just try to endorse  
16 what he was saying. I think this will be a learning  
17 process for everybody here in this country in the  
18 course of doing that.

19 DR. MUTMANSKY: Sure. Okay.

20 DR. WEEKS: I think it's being done to a  
21 great extent now.

22 DR. MUTMANSKY: Okay. Should those commas  
23 be in that recommendation?

24 DR. WEEKS: They're not necessary.

25 DR. BRUNE: The one in front of who should

1 not be there.

2 DR. WEEKS: No. The first one does not  
3 belong.

4 DR. BRUNE: No.

5 DR. TIEN: MSHA and NIOSH?

6 DR. MUTMANSKY: I think the second one  
7 should come out too, but I'm not certain of that.

8 DR. BRUNE: Yes.

9 DR. MUTMANSKY: I think it's kind of  
10 optional.

11 Okay. Are we okay with the wording of the  
12 title first? Are we okay with the wording of the  
13 recommendation second?

14 DR. TIEN: Would it be appropriate to also  
15 incorporate NIOSH in there?

16 DR. BRUNE: No. No, I don't think we should  
17 do that. I mean, there are paths to incorporate NIOSH  
18 in that, but that's on MSHA's end.

19 In the first sentence or the first half  
20 sentence I would say, "The Panel recommends...", not  
21 would like to recommend. I think that can be  
22 simplified and clarified. "The Panel recommends..."

23 DR. MUTMANSKY: I think recommends is  
24 better, yes. I like it. It's more direct.

25 DR. BRUNE: Yes. And then actually you

1 could take this out and say that MSHA establish  
2 contacts and maintain dialogue. I mean, who it is in  
3 MSHA, that's up to MSHA to decide. It's obviously  
4 those who perform and build fire resistance testing.  
5 I think that's redundant.

6 DR. MUTMANSKY: Good point. Do you propose  
7 we take the words out?

8 DR. BRUNE: I would propose that, "The Panel  
9 recommends that MSHA establish contacts..." and so on.

10 DR. MUTMANSKY: All right. Anybody object  
11 to that shortening?

12 MR. MUCHO: Yes. I put those words in  
13 there.

14 No. The point of that wording was that I  
15 think it is specific as to who in MSHA ought to be in  
16 tune with what's going on in that area.

17 DR. BRUNE: Yes.

18 MR. MUCHO: There was a reason why I put  
19 those words in there.

20 DR. WEEKS: These are recommendations.

21 MR. MUCHO: Right.

22 DR. WEEKS: They're not mandates anyway.

23 DR. MUTMANSKY: Yes. I think it's okay to  
24 leave it in, Jürgen. At this point in time I guess  
25 it's okay. I don't see any problem with it.

1 DR. BRUNE: Okay. No, I don't see any  
2 problem. I'm just trying to simplify it, but I see  
3 Tom's point as well. Yes.

4 DR. MUTMANSKY: Yes. All right. Gentlemen,  
5 are we ready for a vote on this?

6 DR. BRUNE: Yes.

7 DR. CALIZAYA: Just one comment --

8 DR. MUTMANSKY: One comment, Felipe.

9 DR. CALIZAYA: -- about these key mining  
10 countries, other key mining countries. Where are  
11 they? Who are they?

12 DR. BRUNE: Or major?

13 DR. CALIZAYA: Major? What is it? I would  
14 like to include names. Which mines are we talking  
15 about? Australia? I think we have a number of mines  
16 there. Europe? Maybe Canada? That's it.

17 DR. MUTMANSKY: South Africa.

18 DR. BRUNE: I would certainly include those.  
19 I would include Europe, the Germans. The Polish have  
20 a fairly established mining industry.

21 DR. TIEN: Well, we may be even learning  
22 some from Russia and China.

23 DR. BRUNE: Yes, and Russia as well. I  
24 mean, Russia has more stringent standards for belt  
25 flammability than the United States currently.

1 DR. MUTMANSKY: Yes. Do we need the word  
2 key in there? Maybe we can take the word key out. In  
3 other mining countries.

4 MR. MUCHO: I think we were headed towards  
5 that graphic that was referred to earlier where we  
6 were looking at the Chinas, the Russias, the  
7 Australias, the Canadas. That was the intent anyway.

8 DR. MUTMANSKY: Felipe, are you comfortable  
9 with leaving it as stated?

10 DR. CALIZAYA: Well, yes.

11 DR. WEEKS: I mean, key is totally a matter  
12 of judgment. We're not saying big, small, anything.  
13 Just whatever they consider to be key.

14 I mean, you could argue that the British are  
15 key not because they have a lot of mines, but because  
16 they have a lot of experience.

17 DR. BRUNE: Yes.

18 DR. MUTMANSKY: Okay, Felipe. Are you  
19 comfortable?

20 DR. CALIZAYA: I have no problem.

21 DR. MUTMANSKY: You have no problem? Okay.

22 DR. BRUNE: I think the character of the  
23 recommendation is that we leave it to MSHA to be the  
24 judge and so I think it's their responsibility to  
25 determine what the key mining countries are.

1 DR. MUTMANSKY: Sure. Okay. It seems like  
2 we're getting ready for a vote.

3 Jerry?

4 DR. TIEN: Yes.

5 DR. MUTMANSKY: You get to vote first.

6 DR. TIEN: Yes.

7 DR. MUTMANSKY: Jürgen?

8 DR. BRUNE: Yes.

9 MR. MUCHO: Yes.

10 DR. MUTMANSKY: Felipe?

11 DR. CALIZAYA: Yes.

12 DR. WEEKS: Yes.

13 DR. MUTMANSKY: Yes. We have a unanimous  
14 vote, and we've completed six of 21 recommendations.

15 It's time for a break. Let us take 10  
16 minutes where we can get up and stretch our legs and  
17 do whatever else is necessary.

18 (Whereupon, a short recess was taken.)

19 DR. MUTMANSKY: I'd like to continue on now.

20 DR. TIEN: The use of belt air has been  
21 around for quite a while, essentially since the  
22 passing of the 1969 Coal Mine Health and Safety Act.  
23 There have been many, many discussions and studies,  
24 especially the two famous studies that address this  
25 issue, technical studies. Number one is the Belt



1 Entry Ventilation Review done by MSHA in 1989, and the  
2 second one is the Belt Air Advisory Committee that was  
3 conducted in 1992.

4           Now, both study reports concluded that,  
5 number one, the system is sound in some conditions, in  
6 some situations, not all. Number two, when the belt  
7 air is used extra measures are required to protect  
8 miners in case of a fire in the belt entry. Number  
9 three, if you want to use the belt air an AMS system  
10 must be applied to detect a fire or other carbon  
11 monoxide producing conditions.

12           Later on the conditions for using the belt  
13 air evolved into, number one, a petition has to be  
14 submitted and approved by MSHA once MSHA decides that  
15 use of the belt air provided no less protection or  
16 existing practice presents a diminution of safety for  
17 miners. Further, in 2004 the rules permitted the  
18 mines with three or more entries to use the best air  
19 without petition.

20           Now, between 1980 and 2006, the records show  
21 that there were 65 belt entry fires. A primary  
22 reason, if one looks at it closely, for these fires  
23 are frictional heating, frame cutting and welding,  
24 electrical malfunctions, et cetera.

25           There were three death that were associated

1 with these accidents, one in the Florence Mine in 1986  
2 where one miner died during the firefighting of a  
3 heart attack, and of course the other two died in Alma  
4 No. 1 Mine in 2006.

5           From that information the Panel's  
6 conclusions is the use of the belt air at the working  
7 face requires, number one, a ventilation system be  
8 properly designed and, number two, the belts be  
9 carefully monitored.

10           Now the Panel looked at all the information  
11 and felt a list of two specific conditions that  
12 justify the use of belt air. Number one, in the gassy  
13 longwall operations in the western U.S. where there  
14 are deep covers and about prone conditions.

15           Number one, the gas at working faces  
16 requires more fresh air for dilution because of the  
17 gas situation. Number two, there are difficult mining  
18 conditions because of their depth that require the  
19 number of growth be limited to less than three to  
20 minimize the exposure because of the rock mechanics  
21 and ground control concerns.

22           And from the above conditions, obviously  
23 those two conditions present more hazards to miners on  
24 the section than the possible hazards of the use of  
25 the belt air at the face.

1           Now, the second justifiable condition where  
2 a mine might benefit from using the belt air is the  
3 deep, highly gassy, longwall operations in the eastern  
4 United States where high methane emission rates,  
5 despite systematic and a long-time methane drainage,  
6 and there is still a concern of high methane  
7 concentration so they're required to have added fresh  
8 air and as a result are using the belt air to reduce  
9 the overall hazards in mining.

10           Of course, to use the belt air the operation  
11 must be held to a higher standard of safety if the use  
12 of the belt air at the face is to be safer than not  
13 using the belt air.

14           Based on the above, The Technical Study  
15 Panel, Recommendation No. 7, has come to the  
16 conclusion that the use of belt air to assist in  
17 ventilating working faces where mechanical equipment  
18 is being utilized is safer in some, but not all, mines  
19 than not using the belt air at the face.

20           However, the Panel also believes that the  
21 miners at the mines using the belt air at the face  
22 must be held to a higher standard that involves the  
23 use of, 1) An AMS and suitable monitoring instruments;  
24 2) Belt materials that meet BELT standards; 3) A fire  
25 suppression system; and, 4) More vigorous inspection

1 procedures by MSHA. In addition, it is recommended  
2 that the BELT standards be applied to all belt  
3 conveyors used in underground coal mines.

4           Since the use of the belt air, the Panel  
5 recognized that would enable the combustion products  
6 produced by the belt fire or explosions to reach the  
7 working faces, so strong justification must be  
8 required.

9           The Panel recommends that a petition process  
10 for granting permission be reinstated and applied to  
11 all mining systems, room and pillar and longwall  
12 alike. The Panel also recommends that the MSHA  
13 district manager be charged with the responsibility of  
14 granting or denying a particular petition, and the  
15 Panel recommends that this decision be processed  
16 within six months.

17           To summarize that, the Panel recognized the  
18 use of the belt air must be associated only with mines  
19 where using the belt air is safer than not using the  
20 belt air at the face. Number two, higher standards of  
21 safety must be applied when using the belt air at the  
22 face.

23           That's my presentation, and I guess we'll go  
24 for the discussion and the recommendation, observation  
25 and comments from the Panel.

1 DR. MUTMANSKY: Thank you, Jerry.

2 First of all, are there questions from the  
3 other Panel members concerning this recommendation?  
4 Jürgen?

5 DR. BRUNE: In the second part of the  
6 recommendation this subcommittee on this  
7 recommendation contains basically elements that  
8 duplicate some of the other recommendations that we  
9 already talked about. That's more a procedural or  
10 legal question.

11 Is that a problem if we repeat let's say the  
12 requirement for the BELT standards and more vigorous  
13 inspection procedures, if you repeat that in this  
14 recommendation? Is that a problem?

15 DR. MUTMANSKY: Okay. Do other Panel  
16 members want to make comments concerning Jürgen's  
17 query here? Is that a problem or is it not?

18 DR. BRUNE: I guess we're not contradicting  
19 other recommendations.

20 MR. MUCHO: We are reinforcing them.

21 DR. BRUNE: We're reinforcing them. We're  
22 duplicating them.

23 DR. MUTMANSKY: Reinforcing, yes. Well, we  
24 certainly don't want to contradict them certainly.

25 DR. BRUNE: Right.

1 DR. MUTMANSKY: That's a good point.

2 DR. WEEKS: I don't think it's a problem.

3 DR. BRUNE: Okay.

4 DR. WEEKS: That's my view.

5 DR. BRUNE: It was just my observation.

6 DR. MUTMANSKY: Any other comments about  
7 that?

8 MR. MUCHO: Yes, a comment on the but not  
9 all. Safer in some, but not all, mines.

10 It's going to come up in some other  
11 recommendations, but certainly it's my opinion  
12 certainly in view of the recommendation we made in  
13 terms of conveyor belt fire resistance testing that  
14 use of belt air generically is safer, a safer system.

15 I say generically because it is tough to  
16 address the variability in the world out there, and I  
17 think that's what those words are getting at, but when  
18 we state it like that what we're stating is that in  
19 some cases it is not safer in some situations that  
20 we're aware of or believe exist. That's problematic  
21 to me.

22 I'm certainly going to contend that use of  
23 belt air is a safer system generically. I say that  
24 principally because it provides an additional intake  
25 airway as an escapeway, and again with the belt

1 standards and the approvals that we're talking about I  
2 believe it to be a safer system than ventilating the  
3 air outby in the belt entry.

4 DR. TIEN: Tom, I was I think during the  
5 course of our subcommittee discussion struggling with  
6 those words as well. How can we better describe the  
7 situation? Generic? I don't know what would be the  
8 better choice of words.

9 They are safer if done properly, do those  
10 properly, proper things. Any suggestions from the  
11 Panel?

12 DR. BRUNE: Let me maybe make a quick  
13 example here if I may.

14 DR. MUTMANSKY: Jürgen, go ahead.

15 DR. BRUNE: I'm not sure if we can say it's  
16 safer or it's not safer because you use belt air and  
17 you have additional air quantity to dilute methane and  
18 dust at the face, which is something that will happen  
19 especially if with respect to the dust you maintain  
20 the standard of one milligram per cubic meter on the  
21 belt. That I would contend makes things safer.

22 On the other hand, you have the obvious  
23 problem where the smoke from a belt fire entering the  
24 face area may cause unsafe or hazardous conditions to  
25 those employees working on the face, so I'm not sure

1 if we can or we should make any statements about  
2 what's safe and what's not safe.

3           You can argue I think until you're blue in  
4 the face. Safe in one respect may mean less safe in  
5 another respect and vice versa. I think Jim has some  
6 strong arguments in that direction as well, but I'm  
7 not sure if we want to make a statement saying which  
8 is safer and which is not safer. Perhaps we can just  
9 avoid making that statement at all.

10           DR. WEEKS: Yes. I think it's very  
11 problematic to say that generically one way of mining  
12 is safer than another, particularly unless you  
13 establish a frame of reference. Safer compared to  
14 what is one problem.

15           DR. BRUNE: Exactly.

16           DR. WEEKS: The other problem is that  
17 certainly in the mines out west where ground control  
18 is obviously a big problem there are tradeoffs between  
19 using belt air and not, tradeoffs on other safety  
20 issues, namely ground control, which don't quite exist  
21 elsewhere.

22           I mean, they exist in relation to gas  
23 control problems like other places in the U.S. We're  
24 not talking about a uniform thing when we talk about  
25 belt air. It's highly variable, and it's unclear.



1 What are you comparing it to?

2 DR. TIEN: I guess comparing it to this  
3 reference point it would be the mines without using  
4 belt air, wouldn't it? Would that be a reference  
5 point to try to compare with?

6 DR. WEEKS: They're both highly variable,  
7 both those that use it and those that don't use it.  
8 There's a lot of variation between the mines in terms  
9 of the mining conditions and gas and ground control  
10 and all that other sort of stuff, so I don't know what  
11 the comparison means.

12 DR. MUTMANSKY: Well, that's a good  
13 question. My basic feeling here is that we need to  
14 argue this out.

15 I'd like to see what Felipe has to say and  
16 then I'll give my comments as to what I have to say,  
17 and we'll see if we can't come to a conclusion.  
18 Felipe?

19 DR. CALIZAYA: Thank you. We have to  
20 struggle with this. Based on comments from other  
21 people, we see that maybe this is the heart of this  
22 Panel.

23 I should say that here the key point is we  
24 are recommending to repeal the 2004 belt rule. I  
25 think this recommendation should be based on that. We

1 are trying to or we are recommending to repeal the  
2 2004 rule. Instead, we are reinstating the petition  
3 for modification for every mine that wishes to use  
4 belt air.

5 I think that the title itself and the  
6 recommendation should state that, repealing the 2004  
7 rule.

8 DR. MUTMANSKY: That's a very good point.

9 MR. MUCHO: Can I jump in for just a second?

10 DR. MUTMANSKY: Sure, Tom. Go ahead.

11 MR. MUCHO: Felipe raises that, which is  
12 something that's on the next couple pages here, but in  
13 terms of that, for instance, my view, I'm going to be  
14 strongly opposed to that, Felipe, and so trying to  
15 incorporate it here I'm not going to agree to that  
16 when I'm not going to agree to the repealing of the  
17 2004 regulations.

18 DR. MUTMANSKY: Okay. Tom, we do not have  
19 to vote on the recommendation on belt air yes or no at  
20 this point in time. It is perfectly acceptable for us  
21 as a Panel to postpone the vote on that until we take  
22 up the topic of belt air petition.

23 DR. BRUNE: Yes. I think that's useful.

24 DR. MUTMANSKY: At this point in time it  
25 seems to make sense that we take that up first, so I

1 would ask the Panel their opinions as to whether we  
2 should take up the belt air petition first before we  
3 take up the use of belt air.

4 Questions?

5 DR. WEEKS: Well, I think it's useful to do  
6 that, but I wanted to make a couple of comments.

7 The Mine Act originally had an outright  
8 prohibition against using belt air to ventilate the  
9 face. Why was that? It's a fairly simple reason. If  
10 you've got a fire in the belt entry and it's going to  
11 the face the smoke is going to go to the face. They  
12 dealt with that problem by saying okay, you make the  
13 belt entry a neutral entry. You have other entries  
14 give you the intake air.

15 Allowing the belt air to go to the face, as  
16 the 2004 rule did, at no time does it deal with the  
17 issue of smoke going to the face as a hazard in and of  
18 itself. In fact, it depends upon smoke coming down  
19 the entry. It's activated by smoke coming down the  
20 entry in order to activate the AMS system so it never  
21 even addresses the issue of smoke going to the face.  
22 It permits it.

23 So I don't see how that can be said that  
24 that is safer than an outright prohibition. It's  
25 partly -- in fact largely -- because of that problem

1 that some of the recommendations are there in terms of  
2 fire prevention, use of the BELT test, the drum  
3 friction test and the maintenance on belt entries as a  
4 means of preventing fires. If you prevent fires, you  
5 prevent smoke from going to the face if it's in the  
6 belt entry, so I mean that's my thinking about it.

7 I've got some things to say about the  
8 petition process, and maybe I'll just hold them until  
9 we get to that, but that's the way I see it. I think  
10 the recommendations that we made certainly take the  
11 edge off that problem. They don't solve it. A fire  
12 prevention method is not foolproof, but we can  
13 certainly address that issue.

14 DR. TIEN: Jim, that was a good point.  
15 We're talking about safe or safer compared to what?  
16 If you look at the statistics, 1980 and 2006, there  
17 are 65 fires, belt entry fires, and those are reported  
18 fires.

19 DR. WEEKS: They're belt fires?

20 DR. TIEN: Belt entry fires, yes. Belt  
21 fires.

22 DR. WEEKS: Yes.

23 DR. TIEN: And three fatalities.

24 DR. WEEKS: Right.

25 DR. TIEN: One is that of a heart attack

1 fighting the fire. You can say that's due to the belt  
2 fire or related to. The other two we all recognize as  
3 not relating directly to the belt fire as the cause of  
4 death.

5           The numbers in the petition, and I don't  
6 know how many have been approved.

7           DR. WEEKS: Forty.

8           DR. TIEN: At least 100?

9           DR. WEEKS: Well, they are 40 mines that use  
10 belt air.

11          DR. TIEN: Forty-three mines are using that,  
12 yes.

13          DR. WEEKS: I don't know how many have been  
14 approved.

15          MR. MUCHO: There's been over 100 petitions.

16          DR. TIEN: Yes, 100, because in 2004 you  
17 said 90 had been approved and several revoked. I  
18 would imagine since then a few more have been  
19 approved. You can argue it's not absolutely safe, but  
20 it is safer. It is a safe method done properly.

21          DR. WEEKS: Not compared to an outright  
22 prohibition.

23          DR. TIEN: I mean just on the face of it.

24          DR. MUTMANSKY: We obviously need to  
25 reconcile our thoughts here.

1 DR. TIEN: Yes.

2 DR. MUTMANSKY: It may be that the best  
3 thing we can do at this point in time is go to the  
4 petition process and argue that very problem out on  
5 the petition process itself and then come back to this  
6 one after we've argued that first.

7 DR. TIEN: Jan, can I make a comment?

8 DR. MUTMANSKY: Yes.

9 DR. TIEN: Jim, you made a good point just  
10 to ban the use of belt air. Of course, the chance of  
11 an accident caused by a belt fire is not there. This  
12 is like saying if we don't drive cars nobody gets  
13 killed on the highway.

14 DR. WEEKS: No, no.

15 DR. MUTMANSKY: No, no, no.

16 DR. WEEKS: I didn't say that.

17 DR. MUTMANSKY: He didn't say that.

18 DR. WEEKS: As a matter of fact, I did not  
19 say that.

20 DR. TIEN: Uh-huh.

21 DR. WEEKS: I'm just going through the logic  
22 of comparing, using belt entries for ventilation  
23 compared to an outright prohibition. I was just going  
24 through the logic. I wasn't saying do one thing or  
25 the other.

1 DR. TIEN: Uh-huh.

2 DR. WEEKS: You could say I was headed in  
3 that direction, but I'm not as a matter of fact.

4 DR. MUTMANSKY: Okay. Gentlemen on the  
5 Panel, is everyone in agreement that we should discuss  
6 the petition process first? I see a lot of heads  
7 going up and down.

8 Felipe?

9 DR. CALIZAYA: Yes.

10 DR. WEEKS: Yes.

11 DR. MUTMANSKY: All right. We will defer  
12 our decision making on this particular No. 7  
13 recommendation, and we'll go to No. 8. I think it's  
14 No. 8.

15 MALE VOICE: Yes. It's No. 8, the next one.

16 DR. MUTMANSKY: No. 8 is the belt air  
17 petition process, and, Jerry, I believe you are to  
18 lead the discussion on this one if I'm not mistaken.

19 DR. TIEN: Yes. No. 7 and No. 8 are pretty  
20 much twin brothers or twin sisters, so they're closely  
21 related. We have already had a discussion on the  
22 background of this, so what I will do, I will just  
23 simply read from the screen our recommendation and  
24 then we can have a discussion from there on.

25 Now, it simply reads "Recommendation: The

1 Technical Study Panel recommends that 1) The petition  
2 process for the granting of permission to use the belt  
3 entry air to ventilate working sections be reinstated  
4 and applied to all mining systems where they used two  
5 or more entries for room and pillar or longwall mining  
6 methods.

7 "2) The Panel also recommends that the MSHA  
8 district manager be charged with the responsibility of  
9 critically examining each petition for use of belt  
10 entry air at a working section and denying those that  
11 do not have the concrete statistical or engineering  
12 evidence of a safer (or equally safe) mining  
13 environment than for the same mine not using the belt  
14 entry air in the working section.

15 "In addition, 3) The Technical Panel  
16 recommends that the district manager be charged with  
17 the delivery of a decision to the mining petitioners  
18 within six months."

19 So that's the recommendation.

20 DR. MUTMANSKY: Okay. I think the wording  
21 in this one gives a better comparison of what we're  
22 comparing.

23 We are comparing the use of belt entry air  
24 at the working section with mines that do not use belt  
25 air at the working section. In other words, mines



1 that have an outby flow of air through the belt  
2 conveyor.

3 Jürgen?

4 DR. BRUNE: Could the subcommittee members  
5 perhaps address the reason why you recommend a  
6 petition process rather than writing that into  
7 rulemaking?

8 What is the advantage of having the petition  
9 process over writing this in the rulemaking and saying  
10 if you want to use belt air at the face then you  
11 require the district manager to specifically examine  
12 the application?

13 Why are we using this, in my opinion,  
14 somewhat of a crutch of an exemption process or  
15 exception process using a petition when we  
16 fundamentally say there ought to be a process for  
17 allowing belt air at the face?

18 DR. MUTMANSKY: I'd like to go to the easel  
19 and address that problem. I think we need to get to  
20 the crux of the problem right here.

21 DR. BRUNE: Okay.

22 DR. MUTMANSKY: I think I can get to the  
23 crux of the problem if I go to the easel. Let me do  
24 that.

25 Can you hear me now?

1 DR. BRUNE: Yes.

2 DR. MUTMANSKY: Okay. I think basically we  
3 have two possibilities here for a mine using air at  
4 the face or a mine that -- I'm sorry. Let me state it  
5 correctly. A mine that uses belt air ventilating air  
6 at the face versus a mine that uses a flow of air  
7 through the belt conveyor in the outby direction.

8 Those are the comparison points. Those are  
9 the two comparisons we want to make, and no matter how  
10 we do that here we have to remember those are what  
11 we're comparing.

12 We have to assume we're going to mine coal  
13 underground. We have to assume we're going to use a  
14 belt conveyor to mine the coal, and we're basically  
15 only considering that possibility. The safest  
16 situation is to not mine coal, so we're not going to  
17 consider that as a possibility.

18 If we take a look at this situation and we  
19 say we're going to use belt air at the face, I would  
20 like to say that there is one clear hazard that is  
21 introduced by the use of belt air at the face, and  
22 that is the hazard of combustibles plus smoke moving  
23 to the face.

24 Okay. So this is an increased hazard. The  
25 law also states you must have an AMS system to

1 mitigate that hazard, okay, so we add an AMS system.  
2 The basic result is that we mitigate the standard or  
3 we mitigate the hazard and we reduce the hazard to the  
4 workers in the working section from that possibility.

5           Do we eliminate the hazard? The answer is  
6 no, we do not eliminate it. We mitigate it. So this  
7 represents an increased hazard. Over here, the use of  
8 belt air may result in decreased hazards, and I'll  
9 allow this as several hazards because I do believe the  
10 possibility that there can be more than one decreased  
11 hazard.

12           One would be let's call it roof control and  
13 let's call it ground control. It would probably be  
14 better to call it ground control. Let me call it  
15 ground control. That's probably a more accurate term.

16           The second hazard would be methane control,  
17 and I believe somebody early on mentioned a reduced  
18 hazard in firefighting because in some cases  
19 firefighters are able to approach the fire better.

20           DR. BRUNE: From all sides, yes.

21           DR. MUTMANSKY: Yes. Now the question is if  
22 we're going to use belt air at the face my  
23 understanding is that we have to have some sort of  
24 evidence that it's going to be a safer mining  
25 atmosphere than not using it at the face.

1           I would basically argue that the increased  
2 hazard of combustibles and smoke at the face is an  
3 important hazard. Even though the statistics are not  
4 very ominous in terms of what has actually happened,  
5 we've been very fortunate that in most cases there has  
6 not been a lot of deaths due to belt conveyor fires,  
7 but there are decreased hazards here -- ground control  
8 hazards in some of the western mines, methane in some  
9 of the eastern mines -- and there's a certain amount  
10 of hazard with regard to firefighting.

11           So basically what I think we have to do is  
12 we have to weigh what is the importance of this hazard  
13 over here versus this hazard over here, and the only  
14 difference is one of these two rectangles here is  
15 bigger than the other. That's the only difference.  
16 The question is which is the most weighty of these two  
17 hazards in this particular case.

18           I think one thing we have is we don't know  
19 the size of these two things here. These are  
20 important and these are important, and the question is  
21 how do we reconcile the fact we really don't know  
22 these things on a numerical basis very well? We can  
23 only make judgments, and that's why I think it's  
24 important for us to argue this point back and forth.

25           So from my perspective I can see some mines

1 where this right here is a bigger hazard than this  
2 over here, and I think we should allow belt air in  
3 those mines. I can see other mines where this hazard  
4 right here is bigger than this over here on a  
5 probablistic or on a statistical basis. Therefore, in  
6 those cases I think we should not allow belt air at  
7 the face. That's the gist of my argument.

8           Now, I would be happy to have you guys  
9 present your thinking.

10           DR. WEEKS: Well, it's a useful way to frame  
11 it. One way to accommodate the way you've described  
12 it is to use the petition process rather than  
13 rulemaking because with the petition process you can  
14 actually deal with those differences in mining  
15 conditions much easier than you can through  
16 rulemaking, I think.

17           DR. MUTMANSKY: Tom, I know you want to get  
18 up here, and I invite you to make your comments. I  
19 think it's important for you to do so.

20           MR. MUCHO: Okay. I'll address the whole  
21 issue and the petition process.

22           Back at one of the meetings we had an MSHA  
23 panel, and I asked a series of questions and comments  
24 to them. From those questions and comments it should  
25 have been obvious that I was alluding to the fact that

1 at least in my mind I thought that the process really  
2 belonged within the ventilation plan because  
3 ventilation plans and roof control plans are aimed at  
4 the individualities of the mine and that's where I  
5 thought belt air belonged.

6           The things that are in the current  
7 regulations as criteria I felt were very good, well  
8 thought out, quite comprehensive, et cetera, and the  
9 other aspect of the ventilation plan is that it is  
10 approved by the district manager.

11           District managers are people who have an  
12 extensive background in mining. They have staffs and  
13 resources and maybe even the resources of all of MSHA  
14 to assess and look at things and I think are in a very  
15 good position to make the kind of decisions that  
16 you're talking about up here, the weighting I think is  
17 the word that you used.

18           I agree that the district manager is in that  
19 position, so I think that would be a better system, an  
20 improvement I think over the regulations because  
21 current regulations and kind of what's that addressing  
22 is that when you have a generic one-size-fits all  
23 regulation obviously by definition it's not taking  
24 into account variations that you might see, so I  
25 thought that would be an improvement.

1           When we talk about the petition process, the  
2 issue is that that decision is made by an  
3 Administrative Law Judge, ALJs, and ALJs are not like  
4 district managers. They're not experienced with a  
5 large background in mining, don't have resources, all  
6 the resources that an MSHA district manager would  
7 have, staff to investigate issues, so they listen and  
8 make adjustments.

9           Nothing against the ALJs. They do a great  
10 job for what they've got to do, but in many cases they  
11 really are counting on the hearing to give them the  
12 kind of background to make that kind of a decision,  
13 and depending on what happens in that hearing might  
14 impact and so forth.

15           So my point being that back more on the  
16 petition process, the other thing I don't think this  
17 Panel has done to make this kind of a recommendation  
18 is to me, we're a scientific technical panel. The  
19 words from Secretary Chao were read at the beginning.  
20 Engineering and scientific kinds of decisions.

21           I don't think we have discussed or shown  
22 where the current regulations are problematic. I  
23 mean, we just haven't done that at all as a process.  
24 Secondly, I think we would recommend a petition  
25 process would have to show how that petition process

1 addressed those problems. Since, A, I don't know what  
2 the problems are it's hard for me to understand how  
3 the petition process addresses those problems.

4           So of the three I would like to see this in  
5 the ventilation plan, the district manager approving  
6 it. I certainly have no problem with the current  
7 regulations that are so major that I would talk about  
8 repealing them. Last on the list is the petition  
9 process.

10           One comment to go back to a couple others  
11 that have been made. One is the Mine Act. Jim was  
12 talking about the history and so forth. One of the  
13 things I think we need to keep in mind is mining has  
14 changed.

15           Mining has changed a lot since the early  
16 part of the century and so forth and so on, and a lot  
17 of the historical facts and figures and background and  
18 the state of coal mining and how it was done in its  
19 practices at a point in time are possibly not  
20 applicable today and in all probability not applicable  
21 today.

22           We have to deal with things in the current  
23 situation, and even the writing of the 1969 law in  
24 1968. Things have changed a lot in the industry,  
25 certainly changed a lot in my experience in the



1 industry in terms of conveyor belt, conveyor belt  
2 entries and so forth.

3           So the history is fine, but we're here to  
4 talk about science and technology and those kind of  
5 things and whether we are up to date. Incorporating  
6 that kind of stuff means change so that history is  
7 important, but it doesn't reflect the state, as I made  
8 the point earlier, of what we're recommending here.  
9 For all those reasons, I think that we should not be  
10 recommending the petition process.

11           One other point I'd like to make is the  
12 hazard of smoke reaching the face. I kind of touched  
13 on this a little earlier. That is not a major hazard  
14 in my book. I've been involved in situations at the  
15 face where smoke came to the face. That was not my  
16 problem. My problem was the fire outby. That was the  
17 main hazard and the main problem I had to deal with.

18           The smoke to the face mostly reflects issues  
19 on my escapability, but my real hazard is that fire  
20 outby. Unless we want to contend that the way the air  
21 is going over the beltline somehow impacts the  
22 potential for a fire, which I don't think is a very  
23 logical argument, then that is not a major hazard.  
24 It's not that big of a deal.

25           In fact, I can argue, depending on

1 velocities, heights of coal beds and so on and my  
2 ability to travel outby, that in some cases I don't  
3 want to be outrunning that smoke, trying to outrun  
4 that smoke in certain conditions.

5           When you look at all that, I don't think we  
6 should be making this recommendation. I don't think  
7 we have the basis or the justification to make that  
8 kind of recommendation.

9           DR. MUTMANSKY: Jim?

10           DR. WEEKS: Just a couple comments. You  
11 make a compelling case for district managers making  
12 these kind of decisions versus ALJs. I've seen ALJs  
13 try to wrestle with these technical matters, and it's  
14 often not a pretty sight so I think that's a pretty  
15 compelling point.

16           Your comment that we have not shown the  
17 current regs to be problematic I just don't agree  
18 with. I mean, if that's the case then we wouldn't  
19 have 21 recommendations here.

20           To be specific, I mean, where I think  
21 they're problematic is that they don't address the  
22 question of fire prevention anywhere. I think that's  
23 a problem, and I think we try to address that with  
24 some of these recommendations.

25           There are others that we might get to

1 concerning say velocity caps or point-feed or things  
2 of that sort where the existing rules may be defective  
3 as well, so those are issues that I think we should  
4 address.

5 DR. MUTMANSKY: Okay. We have gotten  
6 opinions from several people. Jerry, Jürgen and  
7 Felipe, give us your thoughts.

8 DR. TIEN: I'm just curious. Tom, I agree  
9 with Jim. It's pretty compelling, the petition  
10 process you talk about. The Judge made a decision.  
11 It sounds to me you're not disagreeing with the  
12 district manager making the decision.

13 MR. MUCHO: By ranking, I think that the  
14 best process would be for it to be in the ventilation  
15 plan, the current regulations to be criteria that the  
16 district manager and his staff would consider in  
17 approving.

18 As part of that process I envision the mine  
19 would go through a kind of risk assessment process and  
20 understand what they're looking for. Yes, that would  
21 be my number one choice, and I think that would be an  
22 improvement over the regulations.

23 Second, I would rank the regulations, and,  
24 third, the petition process. I don't see the benefit.  
25 I think it's problematic. I think it's problematic

1 when people who aren't well versed in the esoteric  
2 mining industry are making decisions, so I put it  
3 third.

4 DR. BRUNE: I would clearly stress the need  
5 for a special evaluation by the district manager of  
6 belt air use at the face. I would fully agree to  
7 that, but, as I said earlier, I agree with Tom that  
8 the petition process is not the right process.

9 If we as a committee or as a panel determine  
10 that the current rules are not sufficient I would  
11 certainly go along with that, and we did some of that  
12 in requiring more stringent flammability tests. We  
13 can think about that, but I'm fundamentally opposed to  
14 using the petition process in order to get a more  
15 thorough investigation of whether the belt use that  
16 the mine operator applies for can be done safely.

17 I think there are other established ways to  
18 do that, particularly in the process of evaluating the  
19 mine ventilation plan.

20 DR. MUTMANSKY: Felipe, you haven't yet  
21 given us your thoughts.

22 DR. CALIZAYA: I think Jim made a nice  
23 presentation here of pros and cons, and to me it looks  
24 like the rule by itself, based on the requirements, we  
25 are talking about the need for AMS. We are regulating

1 dust concentration to one percent near the face and so  
2 on.

3 All those regulations, all those caps and so  
4 on, they are telling us something. Those are  
5 improvements, and I think our goal is really to  
6 improve, not to reinstate this petition process. I'm  
7 in favor of improvements, and I think that's what we  
8 are doing.

9 DR. MUTMANSKY: Okay. Felipe, I would also  
10 hope that that rectangle under Increased Hazards would  
11 get smaller because we're using improved methods of  
12 monitoring and, most important, we're using belts that  
13 have better flammability standards. That would  
14 probably be the biggest improvement we could make. If  
15 we do that, there are some arguments along that line.

16 You were going to say something, Jerry?

17 DR. TIEN: Yes. I was just making a comment  
18 obviously that nobody disagrees and in fact everybody  
19 agrees with what you're talking about. It's a  
20 process. How we address those rectangles, that is the  
21 debate.

22 DR. MUTMANSKY: Yes.

23 DR. TIEN: So if we can somehow, and I don't  
24 know the procedure or manner of how we're going to  
25 address these.

1 DR. MUTMANSKY: We can address it in a  
2 number of different ways.

3 If Tom would like to replace this petition  
4 process recommendation with a different recommendation  
5 that's one way of doing it. If the panel agrees with  
6 Tom that may be the right procedure to move forward.

7 If there is some other way of doing it, if  
8 there is some other way of addressing the problems,  
9 one other way would be to just drop this petition  
10 altogether and try to deal with the belt air  
11 recommendation without this petition process  
12 recommendation.

13 We are open to a recommendation from the  
14 Panel. Tom, what is your recommendation?

15 MR. MUCHO: I'll work on a different  
16 recommendation if that's what the Panel is --

17 DR. TIEN: Yes. Sure.

18 MR. MUCHO: It basically would be just as I  
19 outlined it.

20 DR. TIEN: Yes.

21 MR. MUCHO: The process being in a  
22 ventilation plan, the district manager approving it,  
23 et cetera.

24 DR. TIEN: Just reword it.

25 DR. WEEKS: Tom, could you put your computer

1 screen down a bit?

2           Actually, I would like to drive another nail  
3 into the coffin here on the petition process, and that  
4 is that in the course of our deliberations we got a  
5 number of petitions for modification, copies of them.

6           I read most of them, and frankly it was  
7 pretty discouraging, the reason being that it was  
8 boilerplate and it looked like somebody had said these  
9 are the magic words that you need to put in your  
10 petition in order to get it approved and put it on the  
11 internet and everybody downloaded it and sent it in.  
12 I mean, that's what it looked like.

13           It left the impression on me that the people  
14 that were filing those petitions were not making a  
15 serious evaluation of the hazards at their mine and  
16 how belt air would improve it. It just didn't impress  
17 me.

18           The question is I assume that mine  
19 ventilation plans are more thorough documents because  
20 I guess they have to submit a mine map and say this is  
21 what we're going to do, so that probably is a better  
22 means of getting a careful evaluation and balance of  
23 hazards and using it one way or the other.

24           DR. BRUNE: I would agree.

25           DR. TIEN: Jim, you are exactly right. In

1 fact, that's one of the reasons driving this  
2 particular petition process recommendation.

3           In fact, one of the things we wrote as a  
4 subcommittee is a close examination of some of the  
5 belt air petitions provided by the Panel indicates  
6 that the petition has become a routine application  
7 providing only general statements and requests without  
8 specific comments and justification for using the belt  
9 air.

10           So I totally agree you. It's the process  
11 and how we can address that. It looks like everybody  
12 agrees. Instead of going through that, going through  
13 what Tom is going to reword might be a better approach  
14 to address this problem.

15           DR. MUTMANSKY: Jerry, I do agree with you.  
16 I think my own inclination toward this particular  
17 petition process recommendation is based upon the fact  
18 that in reading the petitions that I saw there was no  
19 logic of this is a safer mining environment because.

20           DR. TIEN: It uses the belt air.

21           DR. MUTMANSKY: That sentence did not appear  
22 there. I think it needs to be addressed.

23           Tom, I'd like you to formulate a  
24 recommendation that we as a panel could unanimously  
25 approve. I don't know if it's possible, but I think



1 it would be worthwhile for you to work on that.

2           Would you like to suggest a procedure by  
3 which we delay this vote and you get back to us with  
4 your recommendation sometime today or early tomorrow  
5 morning?

6           MR. MUCHO: Let's make it tomorrow morning,  
7 and then I could bounce it off other people.

8           DR. WEEKS: I want to make sure I  
9 understand.

10          MR. MUCHO: I can write a draft and let you  
11 guys --

12          DR. WEEKS: Yes.

13          DR. MUTMANSKY: Tom, since it was my  
14 subcommittee that put that together what is your  
15 recommendation as to which subcommittee should handle  
16 it?

17          MR. MUCHO: I'd really like to see you guys  
18 handle it. I don't need to do that work tonight.  
19 Monday night football. There are lots of reasons.

20          DR. TIEN: At least you'd like to go home.

21          DR. MUTMANSKY: You're overruled, but I  
22 think we need the advice of our solicitors as to how  
23 we should proceed on that because again we have the  
24 three person rule. Matt and Jennifer and you can  
25 consider this and maybe after lunch give us some

1 thoughts.

2           The original petition process recommendation  
3 was put together by my subcommittee, which consisted  
4 of Jerry, myself and Felipe, and because Tom is  
5 raising objection to it is it okay for his  
6 subcommittee to take that, or do we need a new  
7 subcommittee? Those are the questions before you.

8           After lunch we will try to get a response  
9 from Matt and Jennifer as to how to proceed in a  
10 proper manner on this particular process.

11           Yes, Jim?

12           DR. WEEKS: It would seem to me the  
13 suggestion that we form kind of an ad hoc subcommittee  
14 to deal with this. I don't see any problem with that  
15 myself.

16           DR. MUTMANSKY: You don't see any problem,  
17 Jim?

18           JENNIFER: I don't see any problem with that  
19 either.

20           DR. MUTMANSKY: Jennifer and Matt don't seem  
21 to see a problem with it.

22           Jim, would you like to suggest two people to  
23 work with Tom on this?

24           DR. BRUNE: I'll volunteer.

25           MR. MUCHO: With Jürgen volunteering, why

1 doesn't our subcommittee pick it up?

2 DR. BRUNE: We'll work it out over the lunch  
3 hour.

4 DR. MUTMANSKY: I have no problem with that.  
5 Jim, is that okay with you?

6 DR. WEEKS: Yes. Yes.

7 DR. MUTMANSKY: All right.

8 DR. WEEKS: Apparently it is.

9 DR. MUTMANSKY: Are there any objections to  
10 that procedure? Yes?

11 DR. CALIZAYA: I'm not very clear on what  
12 Tom is going to do, and the thing is I don't know what  
13 petition we are talking about.

14 Is this for two mine entries, which needs  
15 really a good petition procedure? Is that what we are  
16 talking about, or are we talking about a petition for  
17 modification or three entry mines and so on?

18 If we are going to uphold the rule then  
19 there's no petition, right? The belt air is part of  
20 the ventilation plan.

21 DR. WEEKS: Before you answer, I'm in the  
22 same place as Felipe. I mean, from listening to what  
23 you're saying it seems to me the way you would deal  
24 with this recommendation is to delete it. There's no  
25 wording to add.

1           MR. MUCHO: No. No. What I'm talking about  
2 would be that rulemaking be instituted and changed  
3 that would take what's in the present regulations and  
4 criteria and make the approval of the belt air  
5 ventilation system all incorporated into the  
6 ventilation plan, which therefore means the district  
7 manager approves ventilation plans. He approves the  
8 roof control plans. The approval process would then  
9 go under the district manager.

10           DR. WEEKS: I see. Okay.

11           DR. MUTMANSKY: Okay. All right. I think  
12 we're in agreement then. Yes?

13           DR. CALIZAYA: We didn't say anything about  
14 the two entry systems.

15           DR. MUTMANSKY: Right.

16           DR. CALIZAYA: Is that not part of it?

17           MR. MUCHO: That's not addressed in what I'm  
18 talking about. It would stay status quo as far as  
19 what I'm talking about.

20           DR. MUTMANSKY: Okay. Okay, Tom. Then you  
21 will take on the responsibility of producing an  
22 alternative. Is that correct?

23           MR. MUCHO: Yes.

24           DR. MUTMANSKY: And you will use Jürgen and  
25 Jim as your subcommittee, and you will report back to

1 us in the morning. Is that correct?

2 DR. WEEKS: Correct.

3 DR. MUTMANSKY: Okay. I have no problem  
4 there. Any other comments at this point in time?

5 DR. TIEN: I guess you are going to be  
6 dealing with No. 7? No. 7 is still sitting there.

7 DR. MUTMANSKY: No. 7 is postponed until we  
8 get No. 8 reconstituted.

9 DR. TIEN: Okay.

10 DR. MUTMANSKY: I'm trying to think what we  
11 have going here.

12 We have several additional recommendations  
13 that can be taken I believe at this point in time,  
14 which will not interfere with the processing of No. 8  
15 or No. 7 and which can be I think, if I look at it  
16 properly, we can take No. 9 as our next one, and we  
17 could perhaps even vote on that before we go to lunch  
18 at 12:30.

19 I thought we would go to lunch at 12:30, and  
20 I think we could take No. 9. We can take No. 9 as our  
21 next recommendation. Tom, who is going to present the  
22 argument for No. 9?

23 MR. MUCHO: I am.

24 DR. WEEKS: I'd just like to point out to  
25 Tom that modern technology allows us to record things

1 like Monday night football.

2 MR. MUCHO: So do we want to do this now?

3 DR. MUTMANSKY: Yes, sir, we do.

4 MR. MUCHO: We're not going to take a lunch  
5 break?

6 DR. MUTMANSKY: We're going to take a lunch  
7 break at 12:30 if we get through this one, yes, by  
8 12:30.

9 MR. MUCHO: Okay. Discontinuing Point-Type  
10 Heat Sensors, which is what that stands for.

11 DR. BRUNE: You should spell that out.

12 MR. MUCHO: Yes. "The Panel strongly  
13 recommends that MSHA initiate rulemaking that would  
14 discontinue the use of point-type heat sensors  
15 currently required under 30 CFR § 75.1103-4(a)(1) for  
16 conveyor belt detection in U.S. underground coal mines  
17 and replace them with AMS type detectors."

18 Okay. First of all, what we were addressing  
19 was a request at our opening session by Richard  
20 Stickler, Assistant Secretary at MSHA, to address this  
21 particular issue of point-type heat sensors and  
22 whether they ought to be discontinued.

23 Basically the Panel, I think our opinion is  
24 even a cursory technical review of point type heat  
25 sensors leads one to the conclusion that the other

1 sensors are much better and basically because, of  
2 course, these sensors are activated by heat.

3           They need a certain amount of heat to be  
4 activated by definition so that you're talking about a  
5 pretty good combustion process already in the process  
6 to activate them. Also their proximity to that  
7 combustion process. For early detection certainly  
8 they need to be close by, and if they're further away  
9 that detection level gets pretty drawn out so that's  
10 pretty obvious.

11           Also, the body of research that has been  
12 done, certainly a couple of U.S. Bureau of Mines RIs,  
13 9412 and 9572, have consistently shown that in a  
14 ranking of sensors for fire detection being smoke, CO  
15 and point-type that point-type comes in third place  
16 and even not a very good third place.

17           Also, the experience in the U.S. coal  
18 industry with point-type heat sensors as opposed to  
19 AMS systems, certainly some points that have been made  
20 in a paper or two by Bill Francart point out the value  
21 of the AMS and using principally CO sensors as opposed  
22 to point-type, so we kind of think that's pretty  
23 obvious that technology has moved on and we really  
24 should discontinue the use of point-type heat sensors.

25           We recognize that they are used to activate

1 fire suppression systems located over the terminal  
2 units, principally the belt drive and so forth, and  
3 there because they would be located in a location  
4 close to the fire source presumably when you have a  
5 need for the fire suppression system.

6           We don't see that as a problem in that use,  
7 but used for all out fire detection we would recommend  
8 the AMS type sensors.

9           DR. MUTMANSKY: Tom, should the statement  
10 here be modified to allow for the point-type heat  
11 sensors at a conveyor, at a conveyor drive, say for  
12 example?

13           MR. MUCHO: Yes. We have that in the  
14 discussion, but we can put it into the recommendation  
15 to make it clear.

16           DR. MUTMANSKY: I would guess we probably  
17 should.

18           DR. WEEKS: Well, I think the aim here is  
19 the principal sensor is the AMS for CO and that we  
20 wouldn't want the point-type heat sensor to replace  
21 that in any fashion, but rather to supplement it, like  
22 putting it at the drive head or wherever.

23           MR. MUCHO: And that's used to activate the  
24 fire suppression system. That's how the fire  
25 suppression system is activated in a lot of cases.



1 DR. MUTMANSKY: Okay. Bill is putting up  
2 some words for us on the screen now that will  
3 hopefully be able to cover that other application of  
4 point-type heat sensors.

5 Comments or discussion by Panel members?  
6 Are there any questions or any comments of rebuttal  
7 here on this particular recommendation? My guess is  
8 that the Panel probably will not have strong  
9 opposition to this, but if there is any please comment  
10 now.

11 DR. TIEN: Yes. Just to try to clarify what  
12 I'm reading there, in the first sentence they said to  
13 try to discontinue, and in the second one they do not  
14 recommend to discontinue the use.

15 DR. BRUNE: Only for activation.

16 MR. MUCHO: Okay.

17 DR. BRUNE: That's only in those situations.

18 DR. TIEN: Only for those. Okay. Would the  
19 word only help? It doesn't?

20 DR. BRUNE: No.

21 DR. TIEN: It's doesn't? It's redundant?

22 MR. MUCHO: The difference is we're  
23 recommending discontinuance for belt fire detection.

24 DR. TIEN: Okay.

25 MR. MUCHO: Belt fire detection and early

1 warning we're saying point sensors don't do a good  
2 job.

3           For activation of fire suppression systems,  
4 because they're located close and so on and so  
5 forth --

6           DR. TIEN: Yes.

7           MR. MUCHO: -- that wouldn't be as  
8 problematic.

9           DR. TIEN: Okay.

10          MR. MUCHO: I don't really think it's  
11 problematic.

12          DR. MUTMANSKY: Still, it's not stated very  
13 clearly. I agree that we're saying that it would  
14 discontinue the use of point-type heat sensors. I  
15 think we need better wording in that case.

16          If somebody could propose a wording that  
17 would be more in keeping with that meaning, I think  
18 that would be useful.

19          DR. TIEN: Especially when we put  
20 discontinue and do not discontinue next to each other.

21          DR. MUTMANSKY: Yes.

22          DR. TIEN: We can work on the wordsmithing.

23          DR. BRUNE: We could say discontinue the use  
24 of point-type heat sensors except as stated below.  
25 That would make it clear.

1           Essentially all sprinkler systems are by  
2 nature point-type heat systems. These things up in  
3 the ceiling, those are point-type heat sensors.

4           DR. MUTMANSKY: Yes.

5           DR. BRUNE: A lot of mines have sprinkler  
6 systems installed that just function that way.

7           DR. MUTMANSKY: Yes. I guess all we need to  
8 do is make the wording as useful and understandable as  
9 possible.

10          DR. BRUNE: Yes. On the other hand, I think  
11 the discussion makes clear what we mean.

12          In the discussion it's very clearly outlined  
13 why the panel recommends that the point-type heat  
14 sensors should be discontinued because as an early  
15 warning system they don't do the job of providing that  
16 early warning; at least not with as much deftness and  
17 efficiency as do smoke sensors and CO sensors.

18          DR. MUTMANSKY: Maybe we should change that  
19 wording then.

20          I can propose a wording that we discontinue  
21 the use of point-type heat sensors currently required  
22 under 30 CFR and so forth for early warning of  
23 conveyor belt fires in underground coal mines and  
24 replace them with AMS type sensors and then just  
25 simply say the Panel does not recommend discontinuing

1 the use of point-type heat sensors for activation of  
2 belt fire suppression systems.

3 Does that help? I don't know whether it  
4 helps or not if you evaluate that for early warning of  
5 conveyor belt fires.

6 DR. BRUNE: I would say early detection of.

7 DR. MUTMANSKY: Early detection. Okay.

8 DR. BRUNE: Yes, early detection rather than  
9 warning.

10 DR. MUTMANSKY: Okay.

11 DR. BRUNE: Because the warning is a  
12 separate process.

13 DR. MUTMANSKY: Good point.

14 MR. MUCHO: Well, except that I would say  
15 warning isn't a bad word. The point with hot rollers  
16 and so forth, I mean, is one of the real pluses of AMS  
17 type sensors that often gives us an edge even into the  
18 act of detecting a fire.

19 DR. BRUNE: I'll go with warning and  
20 detection then, yes.

21 DR. MUTMANSKY: Warning and detection.

22 DR. BRUNE: Look out, Bill.

23 DR. MUTMANSKY: Okay. Everybody, let's read  
24 it one more time, okay. We have now called this  
25 Discontinuing Point-Type Heat Sensors, and we've

1 written out PTHS in words. The recommendation now  
2 states the panel strongly recommends that MSHA  
3 initiate rulemaking that would discontinue the use of  
4 point-type heat sensors currently required under 30  
5 CFR § 75.1103 and so forth for early warning and  
6 detection of conveyor belt fires in U.S. underground  
7 coal mines and replace them with AMS type sensors.

8           The panel does not recommend discontinuing  
9 the use of point-type heat sensors for activation of  
10 belt fire suppression systems. Now, that brings up a  
11 question. What do you mean by AMS type sensors? You  
12 mean a CO sensor?

13           DR. BRUNE: Yes. CO and smoke, yes, or  
14 combined.

15           MR. MUCHO: Yes. I guess what we meant was  
16 the sensors currently traditionally used by AMS  
17 systems.

18           DR. MUTMANSKY: Okay. How do we state that?  
19 I mean, obviously you could hook a heat-type sensor  
20 to an AMS system,

21           MR. MUCHO: Yes, you could.

22           DR. MUTMANSKY: You could do that. Yes. I  
23 guess we need better wording there.

24           MR. MUCHO: This is a little bit of an issue  
25 here. We're really recommending an AMS system, but

1 there are CO standalone detection systems out there  
2 and being utilized in coal mines. I would think that  
3 we're not recommending AMS systems at all mines in  
4 order to comply with this, that we might be accepting  
5 standalone CO systems. I don't know. That's  
6 something the panel needs to talk about I think as to  
7 what we are recommending here.

8 DR. MUTMANSKY: Good thinking, Tom. Okay.  
9 Let's try to replace those words with I guess more  
10 specific words I guess is what we need here.

11 Jürgen, what's your thinking? What do we  
12 want to say there?

13 DR. BRUNE: There should be just  
14 specifically say smoke and CO sensors or smoke and/or  
15 CO sensors with appropriate or you could simply say  
16 with better sensors. With sensors that provide an  
17 early warning. How about that?

18 MR. MUCHO: Yes. That's the criteria.

19 DR. MUTMANSKY: And replace them with better  
20 sensors of the smoke and/or CO type.

21 MR. MUCHO: In a way that's probably some  
22 good language because it leaves open any type of  
23 sensor that somebody might invent tomorrow or 10 years  
24 from now.

25 DR. MUTMANSKY: Better sensors of the smoke

1 and/or CO type.

2 MR. MUCHO: Well, we don't want to limit it  
3 to that. Now, quite frankly, research we did at the  
4 Bureau of Mines with multiple sensors, we used four  
5 sensors, two of which were metal oxide sensors, and so  
6 the world of sensors is not limited to smoke and CO  
7 and to what role they could have and so forth.

8 MALE VOICE: Well, I mean, what you're after  
9 is to discontinue the use of point-type heat sensors.  
10 Probably should state that. The use of other types  
11 of CO sensors is addressed elsewhere. Recommend that  
12 you just continue using point-type heat sensors.

13 MR. MUCHO: Again, the question to me is are  
14 we recommending that all mines have to have an AMS  
15 system or not?

16 MALE VOICE: This recommendation doesn't  
17 address it. It's addressed elsewhere.

18 DR. BRUNE: Can we strike the sentence after  
19 and?

20 MALE VOICE: After the and, yes.

21 DR. BRUNE: Yes. Or including the word and,  
22 you know? We're just saying just leave it at that.  
23 Strike the second part of the sentence and say that's  
24 it.

25 MR. MUCHO: For the other problem, to

1 discontinue or not --

2 DR. BRUNE: That's a separate issue.

3 MR. MUCHO: I know it's a separate issue.

4 You could start this out by saying with the exception  
5 noted below the panel strongly recommends, et cetera.

6 DR. BRUNE: Yes. And my last comment is the  
7 word strongly is in my opinion superfluous. I think  
8 the panel recommends is what we ought to say there.  
9 Whether it's strongly or not is meaningless. Like the  
10 word very, you know? You might as well strike it.

11 DR. MUTMANSKY: I guess if it's unanimous  
12 it's strongly. Maybe you're right. I think we should  
13 take it out.

14 DR. BRUNE: Yes. Doesn't mean anything.  
15 But I like Jim's lead in, except as stated below.

16 DR. MUTMANSKY: Except as stated below.  
17 Yes. Okay. All right. Now, I'll read it to  
18 everybody one more time. Discontinuing Point-Type  
19 Heat Sensors. Except as stated below the Panel  
20 recommends that MSHA initiate rulemaking that would  
21 discontinue the use of point-type heat sensors  
22 currently required under 30 CFR § 75 for early warning  
23 and detection of conveyor belt fires in U.S.  
24 underground coal mines.

25 The panel does not recommend discontinuing



1 the use of point-type heat sensors for activation of  
2 belt fire suppression systems. I think it's much  
3 clearer now. Anybody want any additional comments or  
4 alterations in this recommendation?

5 (No response.)

6 DR. MUTMANSKY: Do we want to vote on it?

7 Okay. Tom, you lead off the voting.

8 MR. MUCHO: Yes.

9 DR. MUTMANSKY: Jürgen?

10 DR. BRUNE: Yes.

11 DR. MUTMANSKY: Jerry?

12 DR. TIEN: Yes.

13 DR. MUTMANSKY: Felipe?

14 DR. CALIZAYA: Yes.

15 DR. WEEKS: Yes.

16 DR. MUTMANSKY: Jim, yes, and I'm yes. We  
17 have a unanimous vote six to zero. It is just the  
18 exact time that I wanted to break for lunch, so I  
19 think at this point in time we'll break for lunch for  
20 one hour and meet back here at about 1:30.

21 (Whereupon, at 12:30 p.m., the meeting in  
22 the above-entitled matter was recessed, to reconvene  
23 at 1:30 p.m. this same day, Monday, September 17,  
24 2007.)

25 //



1 working face in a manner that is safe for all miners  
2 involved.

3           Now, our key points of discussion were that  
4 leaving this approval process to the Administrative  
5 Law Judge that would ultimately have the  
6 decisionmaking in the petition process would leave it  
7 to somebody who may not be as fully aware and would  
8 possibly not have the right expertise to decide this  
9 but rather decide this on legal and technical grounds,  
10 where if it is evaluated as part of the ventilation  
11 plan that the mine owner submits every six months to  
12 the MSHA district office the plan will be evaluated by  
13 ventilation specialists who do the examination of  
14 ventilation plans and approval of ventilation plans as  
15 part of their regular duties and who also visit the  
16 mine on a regular basis to conduct their ventilation  
17 system inspections so that they are intimately  
18 familiar with the mine and with the circumstances  
19 under which this approval can be granted.

20           The other simplification that stems from  
21 including the belt air approval in the mine  
22 ventilation plan is if you had it in a petition then  
23 you would have to change your ventilation plan as a  
24 consequence of however the petition goes or if the  
25 petition is denied that would require a complete

1 change of the mine ventilation plan which would only  
2 complicate the situation for the mine operator.

3           Those were some of the main discussion  
4 points that we had, and maybe, Jim and Tom, you could  
5 chime in and add some more to that?

6           DR. MUTMANSKY: Okay. Tom, do you have any  
7 comments on that?

8           MR. MUCHO: I think that hit the basics of  
9 it. Again, we, at least I would envision that the  
10 current regulations would become criteria that the  
11 district manager would use in assisting him in making  
12 this decision for the areas that he would think about  
13 and address as needed.

14           DR. MUTMANSKY: Jim?

15           DR. WEEKS: I think the key issue here is  
16 that it would put the whole belt air oversight process  
17 as part of the mine ventilation plan process which is  
18 reviewed, what, every six months or something like  
19 that, so it gets much more technical oversight than it  
20 would through other means.

21           DR. MUTMANSKY: Okay.

22           DR. BRUNE: I think one important point is  
23 also that if the mine is represented by a union that  
24 the union would also have some insight in the  
25 ventilation plan and would have an opportunity to

1 comment on the details.

2 DR. MUTMANSKY: Okay. Before we move on,  
3 Jerry, do you or Felipe have any thoughts about this  
4 recommendation?

5 DR. TIEN: Well, that sounds quite good, and  
6 I presume it's enticing enough. It has to be safe in  
7 order to be approved, and it's implied because it's a  
8 ventilation plan, so every six months you have to go  
9 through the process. You also mentioned the district  
10 manager. Yes. I'm pretty satisfied with that.

11 DR. MUTMANSKY: Felipe?

12 DR. CALIZAYA: I agree with it.

13 DR. MUTMANSKY: Okay. Well, I think that  
14 the fact that our group has worked through this and  
15 arrived at this point deserves a lot of consideration.  
16 I still wonder what is safe. In a manner that is  
17 safe for all miners involved. I'm not certain that  
18 defines anything. That's my one reluctance here.  
19 What do you mean by that?

20 DR. BRUNE: Yes. We had that discussion at  
21 the table. I think that is the ultimate  
22 responsibility of the district manager, to ensure the  
23 safety of the miners, and you have to start there,  
24 what is safety of the miners? Obviously that's not  
25 something that can be defined in easy terms, but at

1 least explicitly in this recommendation by voting it  
2 that way we lay that responsibility into the hands of  
3 the district manager.

4           He's the one that ultimately has the call,  
5 and obviously he can use other resources in the MSHA  
6 technical departments to help him, and he may also use  
7 consulting help to do that. But I think he has the  
8 ultimate responsibility for the safety of the miners  
9 in this case, and like with everything else in the  
10 mine ventilation plan he needs to make the call  
11 whether a certain quantity of air on the face can be  
12 considered safe for the miners.

13           I think by putting it in that it's certainly  
14 not an ultimate definition, but I don't think anybody  
15 in this room can give that ultimate definition. We  
16 need to leave it to a judgment call of somebody who  
17 has the experience and can approve that.

18           DR. MUTMANSKY: Okay. I'm in agreement. It  
19 does have the problem that you haven't really defined  
20 what you mean by safe, but it's almost impossible to  
21 accomplish that in words that we can easily locate in  
22 our minds, so it's very difficult.

23           Jim?

24           DR. WEEKS: Well, just to fill out a little  
25 bit more of what Jürgen was saying, whatever criteria

1 the district manager uses to evaluate the mine  
2 ventilation plan -- and those are spelled out in 30  
3 CFR. I don't know offhand exactly where they are, but  
4 they're listed in 30 CFR or I guess 75.300. Is that  
5 where? Those are the same criteria that he would  
6 apply to the ventilation plan including the belt air  
7 plan.

8 DR. MUTMANSKY: Okay. Jerry?

9 DR. TIEN: Yes. I'm just thinking out loud.  
10 Should we go ahead an extra step to making more  
11 detail that they ought to be convincing or some terms?  
12 Instead of become another routine, they do that every  
13 six month, every six month, and after a little while  
14 it becomes boilerplate again.

15 DR. MUTMANSKY: Well, that's one of the  
16 reluctances I have is that it would be another rubber  
17 stamping process and the district manager will have a  
18 difficult time making certain that he's paying  
19 attention every six months to the process and where  
20 does he draw the line? Where does the line get drawn?

21 I'm afraid that any mine that starts this  
22 way they'll just keep rubber stamping it. That's  
23 somewhat of a problem, and I don't know how to  
24 overcome the problem. I wish I could make a  
25 suggestion as to how to overcome it, but it's a

1 difficult process.

2           MR. MUCHO: Just a comment on it -- sorry.  
3 You take the petition process, that was exactly what  
4 it was, it was a once and done deal, you take the  
5 regulation process that currently exists, your mine  
6 operator merely decides its going to use belt air,  
7 submits any changes that might be relative to that  
8 ventilation plan and invokes the regulations and goes  
9 about his merry way.

10           At least in mine ventilation plan it is  
11 reviewed by people in mine management, it is reviewed  
12 by MSHA people every six months, so certainly is a  
13 major step up in that regard than the other options  
14 that have been considered.

15           DR. TIEN: Yes. In the same token, it does  
16 not stop from other things become routine,  
17 maintenance, and their training and everything else.

18           MR. MUCHO: Yes. Another thing is some  
19 things come up or issues, take some of the events and  
20 the impacts they've had like Aracoma, Sago and so  
21 forth, the district manager might shed different light  
22 on things. I mean, the district manager has that  
23 opportunity during that review to say now we want to  
24 take a better look at this aspect or that aspect  
25 because we understand it now. So I think the process



1 is there, and it's a much better process where we're  
2 at.

3 DR. WEEKS: I think your concern, Jan, is  
4 realistic, but, I mean, our mine ventilation plans now  
5 treat it in a rough manner. I mean, I hope not.

6 DR. MUTMANSKY: Well, I would say this. I  
7 would guess that of all the things that are reviewed  
8 by the district manager the ventilation plan is one  
9 that probably is most closely scrutinized and analyzed  
10 by the district manager. I would agree with that  
11 part. Both roof control and ventilation would  
12 obviously be important, but maybe ventilation being  
13 the most important.

14 Jürgen?

15 DR. BRUNE: Not only that, the ventilation  
16 plan is not only scrutinized in the approval process,  
17 but in subsequent inspections the ventilation  
18 specialists go through the mine and take measurements  
19 to verify that those conditions that are elements of  
20 the ventilation plan are in fact found in the mine,  
21 and the inspectors have the ability to revoke and have  
22 basically all the whole pallet of writing violations  
23 up to the closure order to step in if the ventilation  
24 plan is not followed or if it's obvious that  
25 provisions of this plan are not safe.

1           MR. MUCHO: The other thing about it is the  
2 ventilation plan approval process is usually an  
3 inertial process going back and forth between MSHA and  
4 the operator, so this rubber stamp image is I think an  
5 incorrect image based on that process.

6           DR. MUTMANSKY: I guess one other question I  
7 would have is how much freedom the district manager  
8 would have to demand upgrades in the AMS system. For  
9 example, would that be part of it?

10          MALE VOICE: Sure.

11          DR. MUTMANSKY: If it is that certainly is a  
12 powerful tool to make it safe.

13          MR. MUCHO: There will be a couple of points  
14 later on that I'll raise that are going to come back  
15 to that, and we'll see that if we adopt the process  
16 like this with the district manager approving it  
17 facilitates that.

18          DR. MUTMANSKY: Okay. We've had a lot of  
19 discussion.

20          Felipe, do you have anything else you'd like  
21 to say?

22          DR. CALIZAYA: Seems that it's clear. If we  
23 are going to check every six months that give us some  
24 assurance that the quality is there. We talk about  
25 ventilation, the quantity is also there. Yes, I

1 support this the way how it's written.

2 DR. MUTMANSKY: Okay. Jim, do you have any  
3 other comments?

4 DR. WEEKS: No, I do not.

5 DR. MUTMANSKY: Anybody? Jerry? Jürgen?  
6 Tom?

7 (No response.)

8 DR. MUTMANSKY: Okay. Let's call for the  
9 vote.

10 Felipe, would you go first?

11 DR. CALIZAYA: I agree with the proposal.

12 DR. MUTMANSKY: Jim?

13 DR. WEEKS: Yes.

14 DR. MUTMANSKY: I vote yes. Jerry?

15 DR. TIEN: Jerry, yes.

16 DR. BRUNE: I vote yes.

17 MR. MUCHO: I vote yes.

18 DR. MUTMANSKY: Thank you. We have a  
19 unanimous vote. We have approved the Belt Air  
20 Approval Recommendation as rewritten, and at this  
21 point in time we can now go back to look at the  
22 Recommendation No. 7. The Recommendation No. 7 is the  
23 Use of Belt Air, yes or no. At this point in time we  
24 now have a job. I think we have to reconsider and  
25 perhaps rewrite the belt air recommendation at this

1 point in time.

2           We can do that immediately, we can do it  
3 right now if you'd like, or we can postpone it again  
4 for some rewriting, but why don't we as a panel reread  
5 it and see how much rewording is necessary at this  
6 point in time? If it's simple rewording we can do it  
7 right away. If not, maybe we will want to have some  
8 reworking of that recommendation. Okay.

9           The technical study panel has come to the  
10 conclusion that the use of belt air to assist in  
11 ventilating working faces where mechanical equipment  
12 is being utilized is safer in some, but not all, mines  
13 that are not using belt air at the face.

14           However, the panel also believes that the  
15 mines using belt air at the face must be held to a  
16 higher standard that involves use of an atmospheric  
17 monitoring system and suitable monitoring instruments,  
18 belt materials that meet the BELT standards, fire  
19 suppression systems and more vigorous inspection  
20 procedures by MSHA and state inspectors.

21           In addition, we recommend that the BELT  
22 standards be applied to all belt conveyors used in  
23 underground coal mines. Okay. Now, we're going to  
24 have to reword this I'm afraid, right? First of all,  
25 I would like to mention that one of the comments I

1 received from some of the MSHA personnel was that  
2 whenever we're talking about use of belt air in  
3 ventilating working faces one of the comments was it  
4 would be better to say use of belt air in working  
5 sections as opposed to faces.

6           That was one of the comments that I did  
7 receive from MSHA personnel, so we may want to look at  
8 those because that appears several times in this  
9 recommendation. So if we were to say instead of using  
10 the word faces there we use the word sections, would  
11 everybody agree with that change immediately?

12           DR. TIEN: Is there a difference between the  
13 two so it would be consistent throughout?

14           DR. MUTMANSKY: I think we should be  
15 consistent. Matt, was it you or Jennifer who had  
16 mentioned that? I'm sorry, it was Bill. Okay.

17           Bill, just for clarification purposes would  
18 you explain why the word section is better than face?

19           MR. FRANCAERT: It was basically an  
20 enforcement issue because it's easier to enforce based  
21 on the definition of a section being in by the loading  
22 point versus trying to trace air from the loading  
23 point to the face, and trying to do tracer gas tests  
24 and trying to find the 12 pattern. So you can find it  
25 going past the loading points then used on the

1 section, and we don't care if it goes to the face or  
2 not.

3 DR. MUTMANSKY: Okay. So as a panel there  
4 are comments on that change in wording?

5 DR. BRUNE: Yes. I mean, I think we can get  
6 around this and potentially to a palpable solution  
7 here if we strike the first sentence and the word  
8 however out of the second sentence and perhaps the  
9 word also and say the panel believes that mines using  
10 belt air for face must be held to a higher standard  
11 but not discuss the fact whether it's safer or not  
12 because like you said yourself earlier, what's safe or  
13 not may not be an absolute definition.

14 If we strike that first sentence and modify  
15 the second sentence accordingly I think we can come to  
16 something that's agreeable to everybody.

17 DR. TIEN: You want to keep the word face?  
18 You want to change that to section?

19 DR. BRUNE: Yes, belt air to the section.

20 DR. MUTMANSKY: Belt air to the section.

21 DR. BRUNE: I think the section I agree with  
22 is BELT's definition that becomes --

23 DR. MUTMANSKY: Okay.

24 DR. BRUNE: From a legal perspective,  
25 section is better defined than face.

1 DR. MUTMANSKY: Anybody have any reluctance  
2 to support that word changing? We'd take out the  
3 first sentence and start the second sentence with the  
4 panel believes.

5 DR. BRUNE: Panel believes. Right.

6 DR. MUTMANSKY: Yes. The panel  
7 recommends --

8 DR. BRUNE: Yes, recommends.

9 DR. MUTMANSKY: -- that mines using belt air  
10 in a working section must be held to a higher standard  
11 that involves the use of -- okay. Now, are there more  
12 word changes that are necessary here?

13 MR. MUCHO: The colon after of is not  
14 necessary. Fire suppression systems. I think we're  
15 looking for an operative verb there, right?

16 DR. BRUNE: Use.

17 MALE VOICE: Well, I mean, direct object.

18 MR. MUCHO: Fire suppression systems are  
19 required. I thought what we were alluding to there is  
20 that some issues have come up with fire suppression  
21 systems, especially as belts have become wider and air  
22 velocities can be high, and that we were really  
23 alluding to fire suppression systems that were capable  
24 of getting the job done. Is that right or what are we  
25 saying?

1 DR. MUTMANSKY: Yes. As it turns out I  
2 think that was our intent, but it doesn't say that  
3 specifically.

4 Are we going to address that, Tom, in one of  
5 your recommendations that come up?

6 DR. WEEKS: How do you want to change this,  
7 Tom?

8 MR. MUCHO: Well, I think we need to specify  
9 what we're saying about fire suppression systems.  
10 Involves the use of. All conveyor belts currently  
11 have to have a fire suppression system of some type,  
12 so that's not saying anything. I think we're saying  
13 is we want adequate capable fire suppression systems  
14 or whatever the right word is there. Properly sized.

15 MALE VOICE: Improved.

16 MR. MUCHO: Something. Yes. I don't know.

17 DR. MUTMANSKY: You want to see improved.

18 DR. TIEN: Or effective or improved?

19 MR. MUCHO: Well, I mean, really the issue  
20 is some fire suppression systems might be very capable  
21 right now of doing the job. To my knowledge in this  
22 area, and now we're in a thin area, my background, but  
23 I don't know how specified fire suppression systems  
24 are to criteria such as belt width and velocity.

25 My suspicion is that doesn't exist and that



1 maybe manufacturer ought to have Type A that's good  
2 for up to 48 inches and air velocities up to 500 feet  
3 per minute, and he has Type B that's good up to 72  
4 inch belt at 1,000 feet per minute or whatever, but I  
5 don't think that's part of the approval and  
6 certification and so forth process right now.

7 DR. MUTMANSKY: Okay. I had some words with  
8 Jürgen earlier concerning some of the problems that  
9 were observed on these fire suppression systems. One  
10 of the problems was the fact that the air velocities  
11 were carrying the fire suppression chemicals away from  
12 the point where they were needed and were not  
13 effective.

14 At this point in time is it tradition for  
15 companies to use their shroud at the location of the  
16 fire suppression sprays or dispensing points or are  
17 they unshrouded?

18 DR. BRUNE: Typically I think they're  
19 unshrouded.

20 MR. MUCHO: That's right. Typically  
21 unshrouded.

22 DR. MUTMANSKY: They're unshrouded. Okay.

23 DR. BRUNE: But I think the key point here  
24 that Tom is making is that fire suppression systems  
25 are required for every belt regardless of which

1 direction the air flows. If we talk about the key  
2 point of this recommendation being holding the mines  
3 that want a route belt to the face to a higher  
4 standard I do not know what the higher standard means  
5 with regard to fire suppression systems.

6 I mean, either it works or it doesn't. For  
7 any fire suppression system the operator should  
8 hopefully use one that works.

9 MR. MUCHO: I would agree, and I would think  
10 by the fire suppression issue really I would hope we  
11 wouldn't think that applies to belt air lines only. I  
12 mean, they ought to be properly sized and capable  
13 putting out a fire in event one happens irregards  
14 whether a belt air mine or not.

15 DR. WEEKS: If a belt entry is used to  
16 ventilate a section would it need anything  
17 extraordinary in the way of fire suppression?

18 MR, BRUNE: No. It's the same requirement.

19 DR. WEEKS: Well, then we should suppress  
20 the next sentence or that section.

21 DR. BRUNE: Take No. Fire Suppression 24.

22 MR. MUCHO: The only thing about it is that  
23 I'm confused, Jan, and with the recommendations we  
24 touch on it somewhere else. I'm not sure where.

25 MALE VOICE: In velocity.

1 DR. BRUNE: Yes, in the velocity.

2 MR. MUCHO: Is it in velocity?

3 DR. BRUNE: In velocity because that's  
4 current language research.

5 MR. MUCHO: Okay. Yes.

6 DR. MUTMANSKY: Well, we can certainly add  
7 it to the velocity recommendation if it's not there  
8 with sufficient words.

9 DR. BRUNE: Yes, I think we should discuss  
10 it again there.

11 MR. MUCHO: We did it in the comment section  
12 where we comment to Richard Stickler's charge to us.  
13 One of Richard's charges to us was to look at fire  
14 suppression systems. That's where it's at. It's not  
15 in any recommendation, but a comment for completeness.

16 DR. WEEKS: What's on his mind about this?  
17 Do you know?

18 MR. MUCHO: Well, on his mind I would guess  
19 would be that some of the issues that were raised,  
20 principally the VP8 fire and dry powder systems at  
21 higher velocities not being capable of doing that, so  
22 he wanted us to take a look at it. For us without  
23 NIOSH having completed the research, we're just not in  
24 a position to comment.

25 But we would hope that as I stated a little

1 earlier that fire suppression systems would be sized  
2 by criteria such as belt width, criteria such as  
3 velocity to be capable of suppressing the fire. I  
4 would hope that some manufacturer would stand behind  
5 that or however they come up with the system, but I  
6 think that would be kind of up to MSHA.

7 DR. MUTMANSKY: Well, do you feel we should  
8 have to put that into one of our recommendations as  
9 wording in the recommendations as opposed to the  
10 discussion section?

11 DR. BRUNE: I think one thing we could do is  
12 add the word engineered fire suppression systems to it  
13 because then that would require that somebody conducts  
14 an engineering study that would size and design the  
15 fire suppression system specific to the conditions for  
16 which it is meant to work.

17 DR. MUTMANSKY: But isn't that done anyway?

18 DR. BRUNE: I would contend not in all  
19 cases.

20 DR. MUTMANSKY: Yes. I would guess that in  
21 many situations the need for an engineered system was  
22 not apparent and that nobody has ever questioned in  
23 many cases. Now, it's being questioned. So my  
24 question to you, the panel, is do we wish to just  
25 eliminate No. 3 here and address it elsewhere?

1 DR. BRUNE: Yes.

2 DR. MUTMANSKY: So your conclusion at least  
3 as you're expressing it, Jürgen, is let's eliminate  
4 No. 3 here and address that issue in another  
5 recommendation even if we have to write a new one?

6 DR. BRUNE: Yes.

7 DR. MUTMANSKY: Is that it?

8 DR. BRUNE: You're correct. Yes.

9 DR. MUTMANSKY: How about you, Jim?

10 DR. WEEKS: I don't know. I mean, we need  
11 to address it one way or another. What's the  
12 advantage of doing it somewhere else as opposed to  
13 doing it here?

14 MR. MUCHO: Well, I would contend that we  
15 should not address it in the recommendations. As I  
16 said, I think it's premature for us to do anymore than  
17 comment on it until NIOSH commissions the research and  
18 the results of that are known. We can put in language  
19 and a discussion that we would anticipate, MSHA would  
20 then react to that research and take appropriate  
21 action and so forth and so on.

22 I don't really think it belongs in a  
23 recommendation. It's just premature. We're not  
24 exactly sure what we're talking about. Until their  
25 research is completed we won't be.

1 DR. MUTMANSKY: But we can give a general  
2 objective of that by saying fire suppression systems  
3 properly engineered for the --

4 MALE VOICE: Application.

5 DR. MUTMANSKY: -- application. Perhaps  
6 that's one way of doing it.

7 Jerry, your comments?

8 DR. TIEN: Well, can I comment on a  
9 different point or you want to stay on this one?

10 DR. MUTMANSKY: Yes, I would think so.

11 DR. TIEN: Well, No. 4. We're saying, well,  
12 actually this, our group, we subcommittee through  
13 track member, more vigorous inspection procedures.  
14 Now are we implying they're not vigorous enough? What  
15 else they can do?

16 DR. MUTMANSKY: I won't say what we're  
17 implying. I'll just simply say we will discuss that  
18 as part of our inspection recommendation, and at that  
19 point in time we can discuss what we really feel  
20 there. If you have a recommendation regarding that  
21 feel free to express it. I have no problem with that.

22 DR. BRUNE: I think the key point in this  
23 recommendation is that we are by allowing belt air to  
24 go to the working section introducing another hazard,  
25 that being the smoke that would be a hazard to those

1 people working at the face over the section.  
2 Therefore, the point is we need to pay special  
3 attention to that fact, and by asking for more  
4 vigorous inspection that's one way.

5 I would still suggest to strike the fire  
6 suppression systems at this point because there is no  
7 difference that I can imagine in fire suppression  
8 systems. They ought to be all well-engineered and  
9 well-designed. I cannot envision how to make a fire  
10 suppression system better only for this case where you  
11 guide belt air to the face.

12 I mean, if there's a way to make it better  
13 everybody ought to make it better and do it, but  
14 that's kind of out of place in this recommendation  
15 because here we're trying to address that there's a  
16 need for more precautions when we send belt air to the  
17 face.

18 DR. TIEN: So fire suppression system is a  
19 given? In other words, ought to be working anyway to  
20 start with?

21 DR. BRUNE: Exactly, and that's required for  
22 any belt and every belt.

23 DR. MUTMANSKY: Now, are you therefore  
24 recommending that we take a recommendation?

25 MALE VOICE: No. Strike it out.

1 DR. BRUNE: No. Take out No. 3 like we had  
2 discussed earlier and just leave it with No. 1, No. 2  
3 and No. 4, which then becomes three.

4 DR. MUTMANSKY: Okay. Felipe, go ahead.

5 DR. CALIZAYA: I have two comments.  
6 Regarding Point 3 I agree with Jürgen. I think it's  
7 not needed here. The other point is about the title.  
8 I don't think that we are saying much with that yes  
9 or no.

10 MALE VOICE: Yes, you're right.

11 DR. CALIZAYA: Use of belt air for  
12 ventilating working sections, I don't know if that's a  
13 good title. But I think at one point we need to  
14 address this 2004 belt rule, and I would suggest to  
15 add at the very beginning a new sentence that would  
16 read something like this: Panel endorses the 2004  
17 belt rule, or something like that.

18 Because in the rule most of these things,  
19 they are included. Those are improvements to that.

20 DR. BRUNE: Except why do we have to go to  
21 that? If we simply say I agree with the title change,  
22 if we simply say special requirements for use of belt  
23 air, that would be --

24 DR. CALIZAYA: I agree with the title.  
25 Okay. Yes.



1 DR. BRUNE: -- an acceptable title rather  
2 than saying --

3 DR. CALIZAYA: But we are not saying  
4 anything about the 2004 rule.

5 DR. BRUNE: I don't think we need to.

6 DR. MUTMANSKY: Felipe, their argument is  
7 that every six months when the district manager  
8 reviews ventilation he in essence has the authority to  
9 say that the ventilation plan is unacceptable under  
10 certain conditions.

11 I guess the real problem is are we as a  
12 panel accepting of the fact that he will be able to  
13 review and eliminate unnecessary use of belt air in  
14 the working section when it's apparent to him there  
15 are better ways of doing it? That's the question.  
16 And are we doing anything to ensure that I guess?  
17 That's another question.

18 I see we don't all agree on that part, but  
19 if we can come to a suitable set of words here that we  
20 all feel comfortable with it maybe that's okay. So  
21 the question is do we have to discuss the 2004 belt  
22 air rule? I think Tom, and Jürgen and maybe others  
23 are suggesting we don't have to discuss it at all. Is  
24 that your conclusion?

25 DR. BRUNE: That's my point because if we

1 wanted to get into the ins and outs of the 2004 rule I  
2 don't think this is what this committee is being  
3 charged with. We're not charged to rehash existing  
4 rules.

5 DR. MUTMANSKY: Okay.

6 DR. BRUNE: We're giving recommendations  
7 based on what we find is prudent.

8 DR. MUTMANSKY: Jerry?

9 DR. TIEN: Yes, agree.

10 DR. MUTMANSKY: You agree. Okay.

11 Now, Felipe, you can agree or not agree, but  
12 you've heard their argument.

13 DR. CALIZAYA: I would like to see the word  
14 improvements. That's what we are suggesting,  
15 improvements to 2004 rule.

16 DR. MUTMANSKY: Okay. You'd like to see  
17 improvements. Question is how would you do that?  
18 What is your proposal? I think that's what we have to  
19 ask. What is your proposal?

20 MR. MUCHO: Jim made the point earlier on  
21 that really our recommendations are in fact  
22 recommendations to improvements, so de facto the  
23 recommendations are recommendations to improve things.  
24 Here's the problem. I mean, if you say yes, the 2004  
25 rule is fine, then we don't have anything to do. If

1 we say no, it's not, it just seems like, I don't know,  
2 superfluous in meddling with something that we don't  
3 have any business meddling in.

4           So I don't see there's anything to be gained  
5 by the issue at all.

6           DR. MUTMANSKY: Okay.

7           DR. WEEKS: Understand the instinct.

8           DR. MUTMANSKY: Felipe? I would like to  
9 mention one argument that I have here, that the No. 2  
10 requirement here, belt materials that meet the BELT  
11 standards, Linda and I were discussing that particular  
12 one in particular, and if we look at this diagram over  
13 here and we want to shrink that risk over there that  
14 is probably the one thing that will shrink that risk  
15 significantly.

16           Now, again, it's hard to measure. It would  
17 be hard for us to even estimate how much it would, but  
18 it would clearly make a big difference. Okay. So I'm  
19 not opposed to accepting the changes at all if you  
20 agree and if you can accept the fact that we're going  
21 to make these changes and hope that the BELT standards  
22 make a big difference in the risks involved.

23           DR. BRUNE: Perhaps we ought to add to that  
24 BELT and other standards recommended by this panel  
25 because in addition to BELT we just approved the belt

1 friction test and the drum friction test, so we  
2 probably ought to throw those words in there as well.

3 DR. MUTMANSKY: We didn't approve any belt  
4 friction test, though. All we did was say we're going  
5 to try it out.

6 MALE VOICE: Yes. We approved trying it  
7 out.

8 DR. MUTMANSKY: We approved trying it out.

9 DR. BRUNE: Yes.

10 DR. MUTMANSKY: All right. Would that be  
11 helpful to you, Felipe?

12 DR. CALIZAYA: Yes.

13 DR. MUTMANSKY: Okay. Bill, why don't you  
14 go ahead with that change, and we'll look at it one  
15 more time.

16 DR. BRUNE: And then the fire suppressions  
17 needs to come out I think.

18 DR. WEEKS: This recommendation or statement  
19 or whatever it is might serve as a useful introduction  
20 because then lots of other things follow from that in  
21 terms of the BELT standards, inspection procedures and  
22 so on. They're all left out in more detail in later  
23 recommendations.

24 DR. MUTMANSKY: Okay. I changed the word  
25 discuss to recommended.

1 DR. BRUNE: And then three comes out, and  
2 then No. 4 becomes three. Okay.

3 MR. MUCHO: The comment I have is getting a  
4 little bit on a slippery slope here. We're saying  
5 that we want this higher standard and that's assuming  
6 that the recommendations that this panel recommends  
7 are part of that.

8 Of course there's no obligation to follow  
9 any recommendations that come out of this panel, so  
10 whether it be some mishmash of recommendations that  
11 are followed through on and some that are not, so it  
12 kind of leaves you out there as to well, what's that  
13 mean now if you're saying it's only if all the  
14 recommendations are approved, enacted and so on? Is  
15 that what you're saying?

16 DR. WEEKS: That's not our problem.

17 DR. MUTMANSKY: That's not our problem. I  
18 agree, Tom. That's not our problem. I believe our  
19 problem is to do the best possible job we can in  
20 providing MSHA and Congress with our recommendations  
21 based as best as we can on our analysis, and what they  
22 do with it is their problem. Okay?

23 Okay. I think with that I'll go back. Are  
24 you okay now, Felipe, with what we see here?

25 DR. CALIZAYA: (Nonverbal response.)

1 DR. MUTMANSKY: Are there any other comments  
2 about wording? It's now called special requirements  
3 for the use of belt air.

4 DR. WEEKS: Is it appropriate for us to  
5 recommend what state inspectors do?

6 DR. MUTMANSKY: Perhaps not. I put those  
7 words in. I take it back.

8 DR. WEEKS: Well, I'm not opposed to it. I  
9 just wonder if it's within something that's  
10 appropriate for us to comment on.

11 DR. MUTMANSKY: I don't think we have any  
12 particular invitation. I don't remember any.

13 DR. BRUNE: I think it's a good point. I  
14 don't think we can extend our recommendation to other  
15 states since we're a federal panel.

16 DR. MUTMANSKY: I would be okay with taking  
17 out the words and state in there. Anybody have any  
18 reluctance about that?

19 (No response.)

20 DR. MUTMANSKY: Should we read everything  
21 over one more time? Okay. This recommendation is  
22 called Special Requirements for the Use of Belt Air.

23 It goes as follows: The panel recommends  
24 that the mines using belt air on a working section  
25 must be held to a higher standard that involves use

1 of: 1) an atmospheric monitoring system (AMS) and  
2 suitable monitoring instruments, 2) belt materials  
3 that meet the BELT standards and other test methods  
4 recommended by this panel, and 3) more vigorous  
5 inspection procedures by MSHA inspectors.

6 In addition, we recommend that the BELT  
7 standards be applied to all belt conveyors used in  
8 underground coal mines.

9 DR. BRUNE: I would change test methods to  
10 standards even though we're repeating it, but you  
11 can't meet a method, you can only meet a standard.

12 DR. MUTMANSKY: Okay. Good thinking. I  
13 think that's better wording, yes. And other belt.

14 DR. BRUNE: Actually, BELT standards --

15 DR. MUTMANSKY: We could take out the first  
16 standards, the meet the BELT standards, and we'd take  
17 the first word out.

18 DR. BRUNE: Yes. And other test standards.  
19 Yes, okay. That's fine.

20 DR. MUTMANSKY: Okay. We keep getting a  
21 little bit better in our wording. Do we want to read  
22 it one more time?

23 DR. BRUNE: In the last sentence it should  
24 be the BELT standard, not standards, because it's only  
25 one. I wonder if we should use the other test methods

1 there as well.

2 DR. MUTMANSKY: Okay. The BELT and other  
3 test standards recommended by this panel, I guess.  
4 Okay. Let's have one more read.

5 MR. MUCHO: One comment. Bill, are you  
6 saving that file on a regular basis?

7 DR. MUTMANSKY: Bill is doing a great job  
8 here. Thanks, Bill, for helping us out this week.  
9 It's a big help. Okay. Special Requirements for the  
10 Use of Belt Air.

11 The panel recommends that the mines using  
12 belt air on a working section must be held to a higher  
13 standard that involves use of: 1) an atmospheric  
14 monitoring system (AMS) and suitable monitoring  
15 instruments, 2) belt materials that meet the BELT and  
16 other test standards recommended by this panel, and 3)  
17 more vigorous inspection procedures by MSHA  
18 inspectors.

19 In addition, we recommend that the BELT and  
20 other test standards recommended by this panel be  
21 applied to all belt conveyors used in underground coal  
22 mines. Are there any final comments?

23 (No response.)

24 DR. MUTMANSKY: I will call for the vote.  
25 Jerry, you go first.



1 DR. TIEN: Yes.

2 DR. MUTMANSKY: Jürgen?

3 DR. BRUNE: Yes.

4 DR. MUTMANSKY: Yes.

5 MR. MUCHO: Yes.

6 DR. MUTMANSKY: Felipe?

7 DR. CALIZAYA: Yes.

8 DR. MUTMANSKY: Jim?

9 DR. WEEKS: Yes.

10 DR. MUTMANSKY: And I vote yes, and I thank  
11 the panel for working this one out. This is a very  
12 important recommendation. I thank them for all their  
13 input on this one and on No. 8 as well.

14 Okay, good. If I can figure out which one  
15 is next, I believe the next recommendation in our  
16 order is smoke sensors, No. 10.

17 MALE VOICE: (Away from microphone.)

18 DR. MUTMANSKY: Yes, I would guess so.  
19 Bill, I think you can delete that one. I think Tom  
20 will okay that.

21 DR. WEEKS: It's been deleted, Tom. The one  
22 on the petition.

23 MR. MUCHO: Yes. I have no problem with  
24 that.

25 DR. MUTMANSKY: Okay. We'll go to No. 10,

1 Smoke Sensors. Who is going to read that one or  
2 support that one?

3 MR. MUCHO: I'll talk.

4 DR. MUTMANSKY: Okay, Tom.

5 MR. MUCHO: Smoke Sensors. Okay. Reading  
6 the recommendation. The panel recommends that MSHA  
7 thoroughly consider rulemaking that would require the  
8 use of smoke sensors in addition to CO sensors in belt  
9 air mines to provide for earlier warning and possibly  
10 more reliable detection of conveyor belt fires in  
11 these mines.

12 MSHA should also strongly consider  
13 rulemaking to revise 75.1100-1103, Fire Protection,  
14 which was first put forth in 1972. I know that I  
15 can't pronounce some of these words. In order to take  
16 advantage that have occurred in fire detection and  
17 fire prevention technology.

18 All right. What we're looking at here is  
19 that we heard presentations regarding fire detection  
20 and early warning, quite a bit of discussion about  
21 that. Basically, there's a considerable body of  
22 research which says that of sensors such as point-type  
23 sensors, CO sensors and smoke sensors we already  
24 talked about the point-type and where they rank.

25 In terms of early warning the smoke sensors

1 would provide the earliest warning or earliest  
2 detection depending on whether you're talking about an  
3 incipient fire. So what this is really aimed at is  
4 trying to encourage the use of smoke sensors in coal  
5 mines, the further development of them, really trying  
6 to get even though a limited market, some market so  
7 that this kind of technology could be applied to fire  
8 detection.

9           Basically, smoke sensors, the problem has  
10 been limited in mining applications to issues related  
11 to the environment, things like rock dusting,  
12 temperature, humidity, and as a result maintenance has  
13 been a problem with these.

14           There's been some movement for instituting  
15 or trying out at least some of the industrial ready  
16 type sensors in mines, that's ongoing, and development  
17 of some new sensors which appear to address some of  
18 the issues related to the initial sensors. Part of  
19 what the panel's thinking here is that we would be  
20 looking at a phased implementation date to let some of  
21 this process take place and utilize these at least on  
22 a limited basis in belt air mines.

23           In this case in our discussion session we  
24 talked about maybe three on a belt flight, one  
25 downwind of the terminal group, that's the drive take

1 up area transfer point, one about midway and one near  
2 the tail of the section, just to utilize their earlier  
3 warning capabilities and the fact that with multiple  
4 sensors obviously chances of picking up potential  
5 fires at different origin would be greater if you're  
6 using multiple sensors.

7           Contrary to Dr. Litton's comments I believe  
8 at Birmingham, I personally don't believe that simpler  
9 is always better. So that's the whole concept behind  
10 smoke sensors and our thoughts there.

11           DR. MUTMANSKY: Tom, I guess my only  
12 question is I don't know much about smoke sensors  
13 myself, but do we have enough commercially available  
14 smoke sensors at present to move forward here?

15           MR. MUCHO: There's not an assurance that we  
16 have that, no. That's one of the reasons why we  
17 looked at a phased-in approach. I mean, it's  
18 analogous to what we're looking at in the Miner Act in  
19 terms of communication and tracking and so on where we  
20 pass rules and laws by states and the federal  
21 government to enact stuff that didn't exist at the  
22 time and was good at concept.

23           So I think we're a little further along on  
24 that in terms of smoke sensors, but, yes, this is not  
25 something you can buy off the shelf, maybe not. We

1 don't know that for sure either, though, by the way.  
2 We don't know that for sure that you can't go buy an  
3 industrial ready smoke sensor that will do the job.  
4 We just don't know yes or no on that.

5 DR. MUTMANSKY: This certainly fits the  
6 category that Mr. Stickler talked about, that is newer  
7 technology that should possibly be used. I certainly  
8 support it in that sense. Are there comments from  
9 members of the panel?

10 Jürgen?

11 DR. BRUNE: Yes. One of the arguments  
12 against use of smoke sensors is that often the smoke  
13 sensors apparently become obstructed by dust and float  
14 dust, work dust, that is used in the belt entry and  
15 that may affect the function of it.

16 I think it's a good thing to at least for  
17 this Committee to initiate discussion about using  
18 smoke sensors because we learned, I believe it was Dr.  
19 Kissell's presentation that clearly said that even if  
20 you have smoke that is thick enough to the point where  
21 you cannot see the hand in front of your eyes you only  
22 have very low CO or you may only have very low CO, if  
23 you have an open burning fire that is oxygen rich then  
24 you may have very low CO and the smoke is ultimately  
25 what becomes the hazard and what constitutes the

1 hazard for the miners.

2           In other fires you may have higher COs but  
3 having two sensors in combination I think is an  
4 improvement to having only one of each type.

5           DR. MUTMANSKY: Jerry?

6           DR. TIEN: Yes. I agree with what's on the  
7 screen.

8           I'm just wondering, Tom, is there a better  
9 way to express the second line, the last sentence, in  
10 the belt air mines, using belt air or something like  
11 that?

12           DR. BRUNE: Mines that use belt air in the  
13 working sections.

14           MR. MUCHO: Yes. I noticed that as I was  
15 reading that. I think that can be improved.

16           DR. MUTMANSKY: In mines, yes, that use belt  
17 air in the working section. Yes.

18           MR. MUCHO: The last sentence, didn't talk  
19 about that. What that goes to is as is pointed out  
20 there that the time that subpart L was proposed it was  
21 1972 and a lot has happened since that time. Near as  
22 I could check here quickly looking at the law on the  
23 issue where I talked about the inspections on conveyor  
24 belt lines, for example, in 75.1100, and I used that  
25 for that whole group to 1103, I see where a weekly

1 inspection of the water sprinkler system is required,  
2 but I could find no like provision for deluge systems,  
3 foam generators and so forth.

4           So that whole section I think there is some  
5 room to bring it up to speed and add in some of the  
6 things that we've become aware of, like I mentioned  
7 the issue with Aracoma with the mismatched couplers.  
8 Somebody ought to be looking at that on some periodic  
9 basis. That's pretty obvious. Somebody ought to see,  
10 verify, that there's water in the line at some point  
11 on some period.

12           I mean, so there's a number of things that  
13 we've learned over the years, and they're just not  
14 there right now and it needs to be looked at.

15           DR. MUTMANSKY: Okay. Are there wording  
16 changes, Jerry?

17           DR. TIEN: Yes. I know this is Felipe's  
18 job. Look at the title. Should we add a word more  
19 like smoke sensor requirements, or required, or  
20 something?

21           DR. BRUNE: I don't think we can require it.

22           DR. TIEN: Or recommend.

23           DR. BRUNE: The wording is consider  
24 rulemaking which in real terms means you have to go  
25 through the process and MSHA will have to determine is

1 it something that they can ask the industry to do and  
2 require the industry to do, but that's MSHA's job to  
3 require.

4 DR. TIEN: Okay.

5 DR. CALIZAYA: Jim, a couple of questions.  
6 Location and number we have not mentioned in anything  
7 about that. Are we talking about smoke sensors next  
8 to a CO sensor or are we talking about just the number  
9 of the smoke sensors, one at the beginning, one in the  
10 middle and one near the face? Can we clarify that?

11 DR. BRUNE: I would also leave that to  
12 MSHA's expertise to clarify that because smoke has  
13 different characteristics than CO. Smoke typically  
14 rises up to the roof very quickly, and so you wouldn't  
15 locate a smoke sensor where you may locate a CO sensor  
16 in the middle of the entry but you rather go to the  
17 top. So I would leave those details. I'm not sure if  
18 this panel can concern or should concern itself.

19 I mean, we made some recommendations in the  
20 discussion, and I think that should give MSHA a start  
21 to work with.

22 MR. MUCHO: And there is research that looks  
23 at those kinds of issues.

24 DR. MUTMANSKY: Okay. Are there any other  
25 wording changes here?



1 (No response.)

2 DR. MUTMANSKY: I did notice that Bill  
3 Francart's putting these little squiggles in, and at  
4 this time he put in 30 CFR squiggle, squiggle 75.1100.  
5 Bill, does the double squiggle mean something?

6 MR. FRANCCART: More than one.

7 DR. BRUNE: Several paragraphs.

8 MALE VOICE: Squiggle squared.

9 MR. FRANCCART: It's like the triple dollar  
10 sign.

11 DR. MUTMANSKY: That's all I wanted to know.  
12 Thank you. Okay. That was just clarification there.  
13 Are we ready to approve those words or do we want to  
14 read them? We're going to retain the recommendation  
15 and call it Smoke Sensors. Is that okay with  
16 everybody? All right. Let me read the words to you.

17 The panel recommends that MSHA thoroughly  
18 consider rulemaking that would require the use of  
19 smoke sensors in addition to CO sensors in mines that  
20 use belt air on the working section to provide for  
21 earlier warning and possibly more reliable detection  
22 of conveyor belt fires in these mines.

23 MSHA should also strongly consider  
24 rulemaking to revise 30 CFR § 75.1100-1103, Fire  
25 Protection, which was promulgated in 1972, in order to

1 take advantage of advances that have occurred in fire  
2 detection and fire prevention technology.

3 DR. BRUNE: I would just again strike the  
4 word strongly because it's pretty meaningless.

5 DR. MUTMANSKY: Okay. In line 5 there,  
6 Bill, the word strongly, I believe that's the one he's  
7 referring to.

8 DR. TIEN: So is that the same with  
9 thoroughly consider?

10 DR. BRUNE: It's the same thing. Yes.

11 DR. TIEN: Can I have consider?

12 DR. BRUNE: Just consider is fine.

13 DR. MUTMANSKY: Okay. The panel recommends  
14 that MSHA consider rulemaking that would require the  
15 use of smoke sensors in addition to CO sensors in  
16 mines that use belt air on the working section to  
17 provide for earlier warning and possibly more reliable  
18 detection of conveyor belt fires in these mines.

19 MSHA should also consider rulemaking to  
20 revise 30 CFR § 75.1100-1103, Fire Protection, which  
21 was promulgated in 1972, in order to take advantage of  
22 advances that have occurred in fire detection and fire  
23 prevention technology. I think there are too many  
24 commas in that paragraph, but I'm not absolutely  
25 certain of that.

1           In line 3 is that comma after section  
2 required or is it not required? I think it's not  
3 required, but I'm not certain of that.

4           DR. BRUNE: No, I think it is required  
5 because it's a sub. I don't know what you call it or  
6 not.

7           MALE VOICE: If there is such a thing it's  
8 an adjective phrase.

9           DR. BRUNE: Yes. I'm not sure what it's  
10 called, but it's a grammatical construct that requires  
11 a comma.

12          MALE VOICE: It is. Yes.

13          DR. MUTMANSKY: Okay.

14          DR. TIEN: Or providing. To provide  
15 changes, to providing. Strike out the comma.

16          DR. BRUNE: No, you still would need the  
17 comma.

18          DR. MUTMANSKY: Whatever. It may have to  
19 stay because we don't know what we're doing in grammar  
20 here.

21          DR. BRUNE: We need Debra.

22          DR. TIEN: We'll do that Wednesday, yes.

23          DR. MUTMANSKY: In any case we do have the  
24 right number of squiggles, so that's important. Okay.  
25 So do we want to read it one more time?

1 ALL: No.

2 DR. MUTMANSKY: Okay. All right. We're not  
3 going to read it one more time. Are we ready to vote  
4 on this one?

5 Felipe, you're first.

6 DR. CALIZAYA: Go for it. Yes.

7 DR. MUTMANSKY: Jim?

8 DR. WEEKS: Yes.

9 DR. MUTMANSKY: I vote yes. Jerry?

10 DR. TIEN: Yes.

11 DR. BRUNE: Yes.

12 MR. MUCHO: Yes.

13 DR. MUTMANSKY: All right. The vote is six  
14 to none, so it's a unanimous vote on No. 10, Smoke  
15 Sensors. We are moving right along. We're doing very  
16 well. If we continue in this fashion Tom will get to  
17 watch the Monday night football game tonight, so  
18 that's very good. Our next recommendation is called  
19 Diesel Discriminating Sensors, and that's Tom's  
20 subcommittee.

21 Tom, will you read this one?

22 MR. MUCHO: I'll be taking this one, yes.

23 DR. MUTMANSKY: Okay.

24 MR. MUCHO: To read through it: The panel  
25 recommends that MSHA perform regular, periodic reviews

1 of AMS records required under 30 CFR § 75.351(o) at  
2 mines that use belt air. During a review what we  
3 would be looking for at mines that also use diesel  
4 equipment in this case, MSHA should evaluate the  
5 number of false alarms or nuisance alarms due to  
6 diesel exhaust, CO interfering with the AMS CO sensors  
7 installed for belt entry.

8           In those instances where false alarms are  
9 excessive MSHA should require the use of diesel  
10 discriminating system of sensors. What this goes to,  
11 and Jürgen's going to follow with one that's a little  
12 bit similar, this is specific to false or nuisance  
13 alarms from diesel equipment, so there might get some  
14 overlap between these two.

15           We have the requirement in 351(o) to have  
16 these records, and what we're looking for is MSHA to  
17 review them. What the suspicion is is one of the  
18 safety problems has historically been false alarms  
19 because then people get complacent or don't react  
20 quickly when in fact it could be a real situation.  
21 Everybody recognizes that's problematic.

22           So the question is at mines that also use  
23 diesel, most of us know that one of the ways that that  
24 situation is dealt with is that say diesel mantrip  
25 operators or what have you let the AMS operator know

1 that they're traveling such and such and such a place  
2 so that they get alarms or alerts in that area, the  
3 AMS operator says that's Bill going down that area  
4 with a diesel mantrip.

5 Well, the question is how much of there is  
6 that and is it problematic? Really what this is  
7 asking for is MSHA to assess those numbers, and look  
8 at that and kind of make a decision as to whether or  
9 not it is a problem, and if so, to address it by  
10 looking at diesel discriminating sensors.

11 One of the background things here is to our  
12 understanding there's not a lot of use of diesel  
13 discriminating sensors out there relative to number of  
14 diesel mines using belt air. So that's kind of where  
15 it's going to. I don't think this is a big  
16 requirement.

17 MSHA inspectors I think should regularly and  
18 periodically go through the records to look for things  
19 like this. There was a comment that someone made  
20 about well, what's excessive? I can't tell you what  
21 excessive is, but if I looked at enough sets of  
22 records I think after a while I could give you a good  
23 idea of what excessive is. I think that's a role we  
24 delegate to MSHA.

25 So all we're saying is pay attention to it.

1 If it's something that looks like it's a problem  
2 let's do something about it.

3 DR. MUTMANSKY: Question, Jim?

4 DR. WEEKS: Well, it's not a question, it's  
5 just a comment. I think false alarms are kind of the  
6 Achilles Heel of any system like this. It does breed  
7 complacency and it could become a hazard just by  
8 itself. If there's a way to prevent false alarms, we  
9 should adopt it. So what this recommendation does is  
10 saying look for the occurrence of false alarms and  
11 here's a possible solution. It would improve the  
12 system.

13 DR. MUTMANSKY: I have a question. Does  
14 anybody have any idea what costs are involved in a  
15 diesel discriminating CO sensor versus a traditional  
16 CO sensor?

17 MALE VOICE: Sure it's more expensive.

18 DR. BRUNE: Right, it's more expensive.  
19 Typically diesel discriminating sensors combine  
20 several types of sensors that allow a computer system  
21 to evaluate whether the CO in combination with other  
22 types of smoke particles, soot, result from a piece of  
23 diesel equipment rather than from a fire.

24 DR. WEEKS: Yes. I think primarily what it  
25 does is there's no separate CO sensor in it, it looks

1 at nitrogen oxides, and if those occur with a spike in  
2 CO it's presumed that's from a diesel powered piece of  
3 equipment.

4 DR. MUTMANSKY: Okay.

5 DR. BRUNE: I would also contend that the  
6 state of the art in manufacturing these diesel  
7 discriminating sensors is to a point where they are  
8 mineworthy and tested enough that you could buy them  
9 off the shelf today.

10 DR. MUTMANSKY: Okay. Felipe, you have any  
11 thoughts or remarks?

12 DR. CALIZAYA: I have a question in fact.  
13 Are we talking about DPM, diesel particulate matter,  
14 where we discriminate or are we talk about CO? If  
15 it's a CO it's the same thing. The harm to human is  
16 the same whether that would come from a fire or comes  
17 from diesel. I remember working in areas where the CO  
18 from diesel was above 20, and it's as harmful as that  
19 one from fires.

20 Now, maybe the point is about establishing  
21 the background level, okay? If that's the case we  
22 should state.

23 DR. BRUNE: There's two things obviously.  
24 One point is where the MSHA criteria for CO alarms are  
25 typically measured in PPM above ambient and the



1 ambient is determined over a certain period of time,  
2 and if the level rises to five or respectively 10 PPM  
3 above ambient then an alarm is set.

4           The other level from what I understand is  
5 that if a particular piece of diesel equipment runs by  
6 then for a certain point in time or a certain amount  
7 of time the CO level may be raised, but then if it  
8 goes back down again and/or if the diesel equipment  
9 operator says hey, I'm running my equipment by this  
10 point, now expect a temporary rise in CO, those things  
11 can be controlled by the system operator.

12           I witnessed that practice at an Australian  
13 mine that I visited recently, and the equipment  
14 operator would have to announce his presence at  
15 certain points throughout the mine when he came near  
16 CO sensors to alert the AMS operator that the CO level  
17 might rise because the diesel equipment was there. So  
18 those are things that can be taken care of in the  
19 process.

20           DR. MUTMANSKY: Okay. Jerry, do you have  
21 any comments or questions?

22           DR. TIEN: Looks good.

23           DR. MUTMANSKY: Anybody else have comments  
24 or questions?

25           (No response.)

1 DR. MUTMANSKY: If not, we want to look at  
2 the title and see if that one's okay. Do we want to  
3 change that Use of Diesel Discriminating Sensors? Is  
4 that okay with people?

5 DR. BRUNE: That would be fine.

6 DR. MUTMANSKY: Okay. If everybody is okay  
7 with that I'll read it and we'll again work through  
8 the process of rewording if necessary. The panel  
9 recommends that MSHA perform regular, periodic reviews  
10 of the AMS records required by 30 CFR § 75.351(o) at  
11 mines using belt air to ventilate working sections.

12 During these reviews at mines that also use  
13 diesel equipment MSHA should evaluate the number of  
14 occurrences of false alarms or nuisance alarms due to  
15 diesel exhaust CO interfering with the AMS CO sensors  
16 installed along the belt entry. In those instances  
17 where such false alarms are excessive MSHA should  
18 require the use of a diesel discriminating system of  
19 sensors.

20 I can see some wording changes I would  
21 recommend there. I would recommend that we say should  
22 require the use of a system of diesel discriminating  
23 sensors, if you're okay with that.

24 MR. MUCHO: There were about three or four  
25 recommendations on the wording. That was close to one

1 of them that was recommended.

2 DR. WEEKS: Well, another one is diesel  
3 exhaust CO doesn't exactly interfere with the AMS CO.  
4 What it interferes with is the interpretation of the  
5 CO. So I would delete interfering with the AMS CO  
6 sensors installed -- yes. Just delete the rest of  
7 that sentence.

8 DR. BRUNE: Yes. That's fine.

9 DR. MUTMANSKY: Yes. That sounds right.  
10 Okay. That's good rewording I think. You want to  
11 read it one more time. The panel recommends that MSHA  
12 perform regular, periodic reviews of the AMS records  
13 required by 30 CFR § 75.351(o) at mines using belt air  
14 to ventilate working sections. During these reviews  
15 at mines that also use diesel equipment MSHA should  
16 evaluate the number of occurrences of false alarms or  
17 nuisance alarms due to diesel exhaust CO.

18 In those instances where such false alarms  
19 are excessive MSHA should require the use of a system  
20 of diesel discriminating sensors. We haven't defined  
21 excessive. We may want to do a little bit more  
22 wording there, otherwise if you're okay with excessive  
23 we can move forward.

24 MR. MUCHO: Yes. I think we can do without  
25 it.

1 DR. BRUNE: Yes. I think MSHA can from  
2 evaluating different mines in the same district under  
3 similar circumstances when one mine has 100 false  
4 alarms a month and the other mine has five false  
5 alarms a month there's certainly a difference that  
6 would lead somebody to believe that one of them is  
7 excessive, so I think MSHA can judge that very well  
8 after going through a couple of these records.

9 DR. MUTMANSKY: Jerry?

10 DR. TIEN: Yes. The fourth line, the last  
11 couple of words. If false alarms or nuisance alarms.  
12 False alarms, we deliberately use two terms.

13 DR. BRUNE: I think they're both synonymous.

14 DR. WEEKS: Well, some people prefer the  
15 term nuisance alarms, and I'm not sure why. I think  
16 false alarms is more of the vernacular.

17 DR. MUTMANSKY: It actually is not a false  
18 alarm, it's a nuisance alarm. There's a little bit of  
19 difference in the meaning. I think it's a nuisance  
20 alarm not a false alarm. A false alarm would mean  
21 it's reading CO and there's none there.

22 DR. WEEKS: No, but you interpret the alarm  
23 as indicating that there's a fire, and it falsely  
24 indicates a fire.

25 DR. MUTMANSKY: That's a good point. I

1 wasn't thinking of it that way. It's a good point.

2 DR. BRUNE: In any case a false alarm, and  
3 this goes probably to the next recommendation as well,  
4 but a false alarm would also be if the CO sensor reads  
5 according to your CO that's not actually there due to  
6 bad calibration or a bad indication of being masked by  
7 another gas.

8 DR. MUTMANSKY: That's a good point.

9 DR. TIEN: So should we strike out at least  
10 or lose it somehow?

11 DR. BRUNE: I would argue for leaving it in.

12 DR. MUTMANSKY: Well, one other question is  
13 why are false alarms in parentheses and nuisance  
14 alarms are not?

15 DR. BRUNE: Take the quotes out.

16 MR. MUCHO: Well, it was because of the  
17 point Jim made. It's not a false alarm. It's reading  
18 a higher level of CO, but it's not a fire. So it's a  
19 false fire alarm. So that's the reason for the  
20 quotation mark.

21 DR. MUTMANSKY: You want to leave the  
22 quotation marks?

23 MR. MUCHO: I don't care.

24 DR. TIEN: I would take it out. It doesn't  
25 add anything.

1 DR. MUTMANSKY: We're maybe picking on too  
2 small of a problem here.

3 DR. BRUNE: Can discuss that Wednesday  
4 afternoon.

5 MR. MUCHO: Those familiar with the issue  
6 understand it, and it was really for someone who are  
7 not familiar with the issue so it would kind of  
8 scratch their head and say, well, what's a false  
9 alarm?

10 DR. MUTMANSKY: Yes.

11 MR. MUCHO: So it depends on familiarity  
12 with the topic.

13 DR. MUTMANSKY: Since you wrote that, Tom,  
14 do you want to leave it in?

15 MR. MUCHO: Can do a quick thumbs up on it.  
16 I don't care.

17 DR. MUTMANSKY: Is that a maybe?

18 MR. MUCHO: Either way is fine with me.

19 DR. MUTMANSKY: What do you folks prefer?

20 DR. WEEKS: I think when we're done with  
21 this we need to take a break.

22 DR. MUTMANSKY: I'm in favor of that, but  
23 we're not done yet, so let's finish it up.

24 DR. WEEKS: Okay. I suggest we take out the  
25 quotes, and take out nuisance and just talk about

1 false alarms. If people want to question the  
2 interpretation, that's fine. That's my suggestion.

3 DR. BRUNE: I'm fine with that, too. We're  
4 splitting hairs now.

5 DR. MUTMANSKY: Felipe, are you okay with  
6 that?

7 DR. CALIZAYA: Yes.

8 DR. MUTMANSKY: If Felipe is okay with that  
9 I'm okay with it, too. I guess you want to do it  
10 again down below, just take out the quotes that is.  
11 All right, that's our new wording. I don't think I'll  
12 read it again. I think everybody is probably okay  
13 with that now. It's important to note it has the  
14 right number of squiggles in it. We're now ready to  
15 take a vote. I vote yes.

16 Jim?

17 DR. WEEKS: Yes.

18 DR. CALIZAYA: Yes.

19 MR. MUCHO: Yes.

20 DR. BRUNE: Yes.

21 DR. TIEN: Yes.

22 DR. MUTMANSKY: Okay. All six of our  
23 members have voted yes, so it's a unanimous vote.  
24 Now, I suspect that Jim would like a little bit of a  
25 break here.

1 MR. MUCHO: I'd suggest we push on.

2 DR. BRUNE: The next one is basically  
3 related. I think we can wrap this up in --

4 DR. MUTMANSKY: I don't know if I could get  
5 through that one by myself, therefore let's take a  
6 break.

7 MR. MUCHO: Let's push on. It should be  
8 quick.

9 DR. BRUNE: Yes. I mean, this one is --

10 DR. MUTMANSKY: Okay. No. 12 is Review of  
11 AMS System Records. Jürgen is going to discuss that  
12 one.

13 DR. BRUNE: I'll take that. Fundamentally,  
14 when we discussed the diesel discriminating sensors  
15 this can mask the indication of a CO sensor, hydrogen,  
16 for instance, that gets developed in battery charging  
17 stations can do that, and so there's essentially a  
18 review of false alarms gives MSHA and other  
19 authorities an indication of the quality of the system  
20 installation and also of the quality of the system  
21 maintenance.

22 A review of false alarms, like we discussed  
23 earlier, is important because false alarms may lead to  
24 complacency, and may lead to miners ignoring the alarm  
25 and hopefully not ignoring then the real alarm but



1 potentially doing that.

2           That's why we recommend that MSHA on a  
3 regular basis evaluates the false alarms, to get a  
4 better sense of how well the system works and then  
5 make recommendations and enforce accordingly to  
6 rectify the situation, to maintain the system better,  
7 to calibrate it better, to tune it better as to avoid  
8 those false alarms in the future.

9           So I'll read it, and we probably want to  
10 make the same changes with respect to false alarms and  
11 nuisance alarms that we made earlier. Panel  
12 recommends that MSHA perform regular, periodic reviews  
13 of the AMS records required by 30 CFR § 75.351(o) at  
14 mines using belt air to ventilate working sections.

15           During these reviews MSHA should evaluate  
16 the number of occurrences of false alarms due to  
17 sensor system malfunction and due to other gases such  
18 as hydrogen that may affect the function of carbon  
19 monoxide sensors. In those instances where such false  
20 alarms are excessive MSHA shall require appropriate  
21 steps to improve system maintenance and durability and  
22 as needed installation of sensors that are not subject  
23 to influence from other gases.

24           I changed that because I think we discussed  
25 earlier we should say shall.

1 DR. MUTMANSKY: Okay. Thanks for making  
2 those changes, Bill. This now reads in a fairly  
3 straightforward fashion. I'm a little bit concerned  
4 about the fact that you picked hydrogen as your gas  
5 there. It's also a gas with problems of some sort.

6 DR. BRUNE: Well, that's one gas in the  
7 discussion that I mentioned. Among others,  
8 publications by Bill Francart who points out research  
9 results to that effect. So hydrogen is certainly one  
10 of the gases. I'm not sure if that's all of them, but  
11 certainly there's cross-sensitivities to hydrogen.

12 DR. MUTMANSKY: I'm concerned about what the  
13 source of the hydrogen would be. Now normally it's  
14 the battery station.

15 DR. BRUNE: Battery-charging stations is the  
16 other thing we want in this one, yes.

17 MR. MUCHO: Not only are the CO sensors  
18 cross-sensitive, but you have a big multiplier, so  
19 very little hydrogen would just drive CO sensors nuts.

20 DR. MUTMANSKY: Yes. That's a very good  
21 point. Okay. Good. Other questions?

22 Felipe or Jim?

23 DR. CALIZAYA: No.

24 DR. MUTMANSKY: No questions?

25 MALE VOICE: No.

1 DR. MUTMANSKY: Jerry?

2 DR. TIEN: Yes. I'm looking at line number

3 4. To evaluate the number of occurrence of a false

4 alarms look like too many of. Can we change that to

5 number of false alarm occurrence? Will that be okay?

6 DR. BRUNE: Number of false alarms.

7 DR. MUTMANSKY: Number of false alarms.

8 DR. BRUNE: Strike of occurrence.

9 DR. MUTMANSKY: Yes. Number of false

10 alarms. Yes.

11 MALE VOICE: Yes. That's fine.

12 DR. MUTMANSKY: Now, system malfunctions, I

13 guess we should discuss that to some extent. What

14 would be the system malfunction that would normally be

15 operative here?

16 DR. BRUNE: If it's bad calibration or if

17 the sensors malfunction due to power fluctuations or,

18 I mean, there's power surges, there's a number of

19 different things that can impact the function of

20 sensors.

21 DR. CALIZAYA: Another factor is dust and

22 humidity, especially with the CO sensors. If you have

23 wet mines then condensation of water when you have

24 that sensing element can give you wrong readings.

25 DR. MUTMANSKY: Okay. Other comments or

1 other questions?

2 (No response.)

3 DR. MUTMANSKY: Are we ready for a vote on  
4 this one? Tom, you lead off.

5 MR. MUCHO: Yes.

6 DR. MUTMANSKY: Jürgen?

7 DR. BRUNE: Yes.

8 DR. MUTMANSKY: Jerry?

9 DR. TIEN: Yes.

10 DR. MUTMANSKY: Felipe?

11 DR. CALIZAYA: Yes.

12 DR. MUTMANSKY: Jim?

13 DR. WEEKS: Yes.

14 DR. MUTMANSKY: I vote yes. We have gone  
15 through 12 of our recommendations so far. Let's take  
16 a 15 minute break.

17 (Whereupon, a short recess was taken.)

18 DR. MUTMANSKY: Ladies and gentlemen, we'd  
19 like to go back into session again. I've asked Bill  
20 Francart if he would put Recommendation No. 12 up on  
21 the screen again. It was noticed that the title of  
22 this one has a slight problem, and we want to discuss  
23 that in a second.

24 I might mention, also, that it is acceptable  
25 for us as a panel to go back to any of the

1 recommendations for changes as long as we do it here  
2 in the public hearing. In this case what we would  
3 like to do is go back to the title of Recommendation  
4 No. 12 because there's sort of a repeat here, Review  
5 of AMS System Records.

6           AMS stands for Atmospheric Monitoring  
7 System, so the word system here is superfluous, and we  
8 are recommending that we eliminate that from the  
9 title. Now, I suspect that this will not involve a  
10 great amount of discussion. Is there anybody who has  
11 any reluctance to do that at this point in time?

12           DR. TIEN: No, but I do have a question on  
13 the clarification you talked about earlier. Can we go  
14 back to revise on the voted recommendation or just the  
15 wording of it?

16           DR. MUTMANSKY: Yes, we can go back and  
17 revise any recommendations if there's a good reason  
18 for doing so. In this case it's just a minor point,  
19 but I think it's worthwhile making this correction and  
20 calling this Review of AMS Records. Everybody in  
21 favor of that?

22           ALL: Yes.

23           DR. MUTMANSKY: I won't call for an  
24 individual vote. It's a unanimous vote. We're in  
25 favor of that change. Okay. Thank you. The next

1 recommendation is called AMS Operator Training  
2 Verification. Who is going to present the supporting  
3 argument for that?

4 MR. MUCHO: I am.

5 DR. MUTMANSKY: Tom. Okay.

6 MR. MUCHO: Okay. I'll read it first. The  
7 panel recommends that MSHA commence rulemaking that  
8 would require the qualification and certification of  
9 miners who train to be AMS operators as defined by §  
10 75.301.

11 The panel in its review of mine emergencies  
12 -- and most notably Aracoma jumped out at us, I know  
13 there have been others -- when you look at the actions  
14 or non-actions and how critical they were of AMS  
15 operators raised some flags to us, that is we really  
16 questioned whether we can be assured that AMS  
17 operators have sufficient training to unequivocally  
18 handle mine emergencies.

19 The panel believes it's imperative that AMS  
20 operators have background, experience, training and  
21 authority to ensure that proper actions are taken in  
22 response to all AMS signals including alerts, alarms  
23 and malfunctions, to provide the utmost assurance of  
24 safety of all affected miners.

25 Now, under 351 we define AMS operator

1 duties, 352 defines the actions and response to AMS  
2 malfunctions, alerts and signals and under 351(q),  
3 training requires that we train AMS operators  
4 annually. That's all well and good with 351 and 352  
5 providing a lot of course of material to train  
6 operators and a training provision being to make sure  
7 they understand the operation of the AMS system.

8           The problem is however requiring training  
9 and being assured that the training was received and  
10 understood can sometimes be two different things.  
11 When we look at how critical an AMS operator is, and  
12 of course in some cases the AMS operator is also the  
13 responsible person under § 75.1501, it becomes very  
14 critical that those actions early on are correct, so  
15 we think that MSHA should establish a plan for  
16 training, certification and recertification.

17           One of the footnotes here is that when we  
18 look at mine safety one of the things as a basic  
19 building block has always been certification and  
20 qualification of people, whether it's as a miner, or a  
21 shot fire, or assistant mine foreman, mine foreman,  
22 mine examiner, what have you, that's what we've done.

23           There's been requirements sometimes we put  
24 in for those various positions, requirements on where  
25 that experience is, and it's basically because we feel

1 we had to know that these people were qualified to do  
2 the job and we need to know whether they in fact  
3 understood the things that they've been trained in  
4 during that process or educational process.

5           So that's a basic building block of safety.  
6 Now, AMS operators when we look at them and look at  
7 their key role in safety, and a little bit can be said  
8 the same way for the responsible person, certainly  
9 seems obvious that they should be qualified and it  
10 certainly seems obvious that somebody ought to certify  
11 that these people understand and have that knowledge.

12           The same might be said for the responsible  
13 person. We make a comment in our write up about that,  
14 and we got a comment back from one of the reviewers:  
15 Are we recommending the responsible person be also  
16 qualified and certified? The answer to that out of  
17 our subcommittee was well, maybe. It's something that  
18 ought to raise a flag. Might be outside of our belt  
19 air, belt flammability issue, but somebody that plays  
20 that key role in the safety system following the  
21 history of mine safety, maybe they should be certified  
22 and qualified.

23           One of the things we also talk about in the  
24 discussion is that we feel that the AMS operators who  
25 are normally underground, as part of the training



1 recommendation we said that we think that they ought  
2 to spend at least one day semiannually underground to  
3 familiarize themselves with the underground  
4 environment, the mine infrastructure, practices, those  
5 sorts of things.

6           So that kind of sums it up why we think  
7 somebody ought to be certifying the AMS operator,  
8 qualifying them.

9           DR. MUTMANSKY: Jim?

10           DR. WEEKS: The way it reads it pertains to  
11 qualification and certification of miners who train to  
12 be AMS operators. You mean to limit AMS operators to  
13 be miners, and if it's not then it would seem to be  
14 appropriate to talk about the qualification and  
15 certification of AMS operators because the two AMS  
16 operators that we saw in fact were not miners.

17           MR. MUCHO: That's correct.

18           DR. BRUNE: Jim, both of them were miners.  
19 In fact, they were mine foremen.

20           DR. BRUNE: Yes, right.

21           MR. MUCHO: The Aracoma case and the one  
22 case, that fellow had, what, two months of surface  
23 experience.

24           DR. WEEKS: So anyway, did you mean to limit  
25 it to miner?

1           MR. MUCHO: No. That began with some  
2 comment on wording, and that's the one I chose and put  
3 in there. It was not that intentional.

4           DR. WEEKS: All right. I would recommend  
5 certification of miners who train to be as just  
6 certification of AMS operators and delete, yes, all of  
7 the rest.

8           DR. MUTMANSKY: Everybody okay with that?  
9 Tom, in the early discussions of AMS operators, there  
10 were people who said gee, I didn't realize the AMS  
11 operator would be somebody who didn't have mining  
12 experience. Has your subcommittee discussed that  
13 problem and come to this conclusion that they do not  
14 have to be experienced miners?

15           MR. MUCHO: Well, that's where we talk about  
16 qualification, and the expectation here is that MSHA  
17 would take it on themselves to say what qualifies  
18 them. We had arguments pro and con, and Jim raised  
19 the argument that if someone was a good communicator,  
20 et cetera, that's more important than maybe having  
21 mining experience.

22           My opinion personally is the person doing  
23 that position ought to have some mining experience, at  
24 least enough to understand what's in place, what the  
25 people they might be telling things to do might be

1 encountering, where that's going to be encountered.  
2 So I think they ought to have a minimum of some basic  
3 background, but basically we were deferring that to  
4 MSHA to figure out what qualifications someone would  
5 need. So we didn't get that specific.

6 DR. WEEKS: Yes. There's no question that  
7 it's an asset, but I don't think it's an essential  
8 feature of it. The way that they dealt with that  
9 problem at one of the mines that we visited in Utah  
10 was that the AMS operator, I guess by company practice  
11 they took her underground at least once a month, and I  
12 don't know where they went or what they did, but that  
13 was their way of dealing with things, to see what it  
14 looks like.

15 MR. MUCHO: Yes, and that can be a way of  
16 handling it. That's why we specifically mention one  
17 day at least every six months kind of a thing. But,  
18 yes, again, probably a couple different ways to look  
19 at that.

20 DR. MUTMANSKY: I would hope, also, that  
21 MSHA might require that the person would periodically  
22 walk an escape-way just to know what they're like.  
23 Might be worthwhile. Just my thought.

24 Jerry?

25 DR. TIEN: Would add any basic requirement

1 like a year mining related jobs make any difference or  
2 they can be 15 year old and just came on job? I'm  
3 trying to make an extreme case.

4 MR. MUCHO: We're saying that in our  
5 recommendation or write up really that kind of what  
6 their qualifications need to be we were really  
7 deferring to MSHA. Yes.

8 DR. BRUNE: I think we're making a clear  
9 distinction. There's two elements. There's the  
10 element of qualification where the person has to be  
11 able to do this job by his or her very knowledge and  
12 experience and the certification is the assurance that  
13 somebody has tested this person and found that this  
14 person was indeed of sufficient knowledge and  
15 capability to render that job.

16 There's two elements to it. Not just  
17 qualified but also certified.

18 DR. MUTMANSKY: There were two other issues  
19 that came up during our mine visits, Tom. One is the  
20 fact that most of the AMS operators were working 12  
21 hour shifts. Has your committee discussed that issue?

22 MR. MUCHO: Yes, we did. I'll think about  
23 where we went. I can recall some of my comments. One  
24 of the things that was proposed was well, AMS  
25 operators ought to be limited to AMS duties. Well,

1 where these AMS operators came from was in general  
2 whereas they did other things at the mine before they  
3 became AMS operators.

4           Many of them were dispatchers, for example,  
5 or the outside responsible person, and so then the  
6 mine for whatever reasons, using belt air or whatever,  
7 decided they were going to have AMS systems Jürgen  
8 became the AMS operator. So it was really a duty that  
9 was added on to in most cases a person already  
10 existing and had other duties.

11           So when you start to try to limit their  
12 duties gets a little tricky. I mean, there are some  
13 like, take tracking absenteeism and some things like  
14 that that you have to kind of wonder about as whether  
15 those are a good assignment of duties, and working  
16 long hours and the total job that they're doing.

17           Something needs looked at, but I don't think  
18 we could think of how you'd look at what's the  
19 workload, how long do they work? We just couldn't  
20 come up with anything.

21           DR. BRUNE: Yes. There certainly doesn't  
22 seem to be a clear evidence that somebody who is doing  
23 this job for in 12 hours shifts is less capable than  
24 somebody who is doing it in eight hour shifts. I  
25 don't know if there is any research to that effect and

1 if we can come up with something, but in order to form  
2 a well-reasoned opinion by this panel it would be  
3 necessary to have at least some background to point  
4 to.

5 I'm not sure if there's any such information  
6 out there.

7 DR. WEEKS: Well, there is a body of  
8 research, I can't put my finger on it at the moment,  
9 that shows that people that work long shifts are more  
10 error prone, particularly towards the end of the long  
11 shift. It doesn't pertain to mining, it's hospital  
12 work, for example, truck drivers and some others. So  
13 there is an issue there, and we might suggest that  
14 MSHA limit the work shift to eight hours or something  
15 like that. At least they take it into account and not  
16 just say you're going to work the same shift as  
17 everyone else, which is 12 hours.

18 DR. MUTMANSKY: I can remember reading  
19 research, also, at one time that basically said that  
20 engineers were not particularly good at this kind of a  
21 job, and it's just simply because of their personality  
22 and characteristics made them impatient and not as  
23 reliable as somebody who had a different type  
24 background. It's interesting that they would come to  
25 this kind of a conclusion, but nonetheless, that was

1 not a mining related issue, it was a different  
2 industry.

3 Felipe, were you going to say something?

4 DR. CALIZAYA: Yes. I have a couple of  
5 comments here. The first thing has to do with  
6 workload. I think when we were in Birmingham we had  
7 at least one guest who mentioned specifically this  
8 point. He said they were overwork, and I think that  
9 was kind of a complaint really. I think it's worth to  
10 consider that. I don't know if we can associate this  
11 job with air traffic controller, for instance, just  
12 considering the risk factor, all right?

13 Maybe we can emulate what they do there. Do  
14 we need one person or do we need two different people  
15 there? That one has to do with the type of goals they  
16 get. In case of emergency you have one drinking here  
17 and there, some of them are really low priority calls,  
18 and there must be some way of filtering out those. I  
19 don't know if that's also on our list.

20 DR. BRUNE: I would say typically in an  
21 emergency once the emergency arise and has been called  
22 to attention by the person that is the AMS monitor, at  
23 that point the operator would typically have somebody  
24 else assisting the monitor and the operator with  
25 fielding calls and things like that because I agree,

1 at that point it can get overwhelming.

2           What we might ask MSHA to do is look at how  
3 911 operators or other people in similar situations  
4 work, whether they work 12 hour shifts and whether  
5 there's any background research. We could certainly  
6 do that and ask MSHA to look into that.

7           DR. MUTMANSKY: Well, one problem I think  
8 that is not addressed in your recommendation is this  
9 problem of multiple duties interfering with the  
10 emergency duties. I believe that the comment came up  
11 early in our data gathering that there had been a  
12 problem at the Jim Walter Resources Mine in the year  
13 2001, is it? That right? The year 2001 during their  
14 emergency there.

15           The AMS operator was answering calls from  
16 outside the mine at the time of this emergency  
17 incident, and there were mistakes made during that  
18 process of evacuating people from the mine and that  
19 may have resulted in more deaths there than would  
20 otherwise have occurred.

21           The question is why was that AMS operator  
22 answering telephone calls about the accident at a time  
23 when they should have been paying all of their  
24 attention on making certain that the proper decisions  
25 were made and that people were evacuated in an orderly



1 manner? So I have a fairly high desire to see  
2 something more definitive put into the AMS operator  
3 training statement here that would satisfy that  
4 problem. I would just simply ask the subcommittee if  
5 that's a possibility, that they would alter this  
6 statement?

7 DR. WEEKS: Didn't we write a recommendation  
8 to that effect? I thought we did, basically that the  
9 AMS operator should do AMS stuff and not all this  
10 other stuff. I thought we did.

11 MR. MUCHO: No. We couldn't resolve it so  
12 we left it as it is here and then we had some  
13 discussion. We just avoided the issue because it's a  
14 tough issue. Come back to Jan's comment, been  
15 involved in a number of mine emergencies and part of  
16 the problem is that when you have a situation like  
17 that the workload exceeds more than one person.

18 It's exponential in terms of time, the way  
19 it goes up. For example, the Jim Walter thing  
20 happened as I recall on an idle day. If things happen  
21 on a day shift during the week usually there's people  
22 around that can pick up a lot of the many duties that  
23 start to need to happen.

24 If you recall there's been a lot of comments  
25 about the 15 minute notification duty and letting

1 MSHA, and the state and you all know about it within  
2 15 minutes and so on. That's all these kinds of  
3 things that interfere. It really takes multiple  
4 people. If it happens on an idle day they're not  
5 around. That's just the reality.

6 I mean, there might be some way you can  
7 prioritize. I mean, first thing they should be doing  
8 is notifying the people underground and giving them  
9 directions on the actions they should take. I would  
10 think that would be the first thing. This is a hairy  
11 issue. There's no easy answer here. Believe me, one  
12 person can't possibly handle what's going on in there.

13 DR. WEEKS: But at the least we could say  
14 something like the AMS operator should, I mean, their  
15 first priority is operating the AMS system, it's not  
16 calling out for pizza.

17 MR. MUCHO: Well, it's reacting to the AMS  
18 system, right? The AMS system is going to give you a  
19 certain number of alarms and then their first duty is  
20 to react to it. That's what I'm saying. What I would  
21 interpret it as to, notify people underground as to  
22 the situation the best that they know it based on the  
23 data they're looking at.

24 DR. WEEKS: Well, we don't have to specify  
25 exactly what it is, but that's the person's top

1 priority is the AMS system itself and dealing with  
2 that.

3 MR. MUCHO: Yes, but, for example, there is  
4 a requirement that I will notify MSHA and so on at  
5 certain times.

6 DR. WEEKS: But that's not that person's  
7 responsibility.

8 MR. MUCHO: It might be.

9 MALE VOICE: Who's going to do it?

10 DR. WEEKS: Somebody else. I don't know.

11 DR. BRUNE: No. Typically it's the shift  
12 foreman or the highest ranking operator  
13 representative --

14 MR. MUCHO: The responsible person can be  
15 underground. You may not even be able to get a hold  
16 of him. That's been another issue in other  
17 situations.

18 DR. MUTMANSKY: Yes, but, Tom, when we were  
19 at Aberdeen Mine it just occurred to me as I was  
20 standing in the AMS operator's room that this person  
21 would have to have the responsible person make  
22 important decisions, and it clearly can be a serious  
23 problem for them. I asked the operator there, it was  
24 a young woman, if she would call the responsible  
25 person.

1           She did and got an immediate response or  
2 nearly immediate. But the truth of the matter is the  
3 AMS operator does have to deal with that responsible  
4 person unless they are the responsible person.  
5 There's a number of different problems here all coming  
6 back to how effective is the AMS operator under a  
7 variety of conditions, each one being somewhat  
8 slightly different?

9           Either they are or they are not the  
10 responsible person, either they do have multiple  
11 duties or they don't have multiple duties. I suspect  
12 in most cases they have multiple duties.

13           DR. WEEKS: Well, notifying MSHA is arguably  
14 part of the -- if the AMS operator is the only one  
15 around and she's the one that knows what's going on  
16 with the emergency then notifying MSHA arguably is  
17 part of her job, so I don't see it as distinct from.  
18 I mean, we don't care about the system. The system is  
19 merely a means to manage an emergency. It's the  
20 emergency that we're interested in covering, and the  
21 system is a tool to do that.

22           Part of the managing of that emergency,  
23 well, it's not only calling MSHA it's calling whatever  
24 manager or top-ranked person is not there saying you  
25 better get over here, we've got a problem. So I don't

1 see that as a conflict. I mean, the conflict was  
2 saying that running the AMS system is that person's  
3 top priority.

4 MR. MUCHO: I guess I'm not following the  
5 terminology, Jim, running the AMS system. I mean,  
6 ongoing is reacting to alarms and alerts. Maybe I  
7 acknowledge an alarm or --

8 DR. WEEKS: They're not passive. The whole  
9 purpose of looking at the alarms and alerts is to do  
10 something, you know?

11 MR. MUCHO: All right. So I get a whole  
12 series of alarms that pop up on the screen now, bang,  
13 bang, bang, bang. As the AMS operator I'm not the  
14 responsible person. I've got to try and get a hold of  
15 the responsible person who may be underground  
16 traveling around somewhere. Depending on what those  
17 alerts I might have some interpretation as to what I  
18 think the problem is.

19 If I get multiple CO alerts on a belt line I  
20 might suspect a fire, if I get over a large area I  
21 might suspect an explosion. So now I'm going to try  
22 and get a hold of company officials, state officials,  
23 and this person underground as well as try to get the  
24 crews underground or people underground to be alert to  
25 what the situation is and what the action should be.

1 I mean, this is all right now I've got to do that.

2 DR. WEEKS: It's a lot to do, and you've got  
3 to do it all. I mean, it seems to me the first thing  
4 is to be to call the people underground, tell them  
5 we've got to do something about this.

6 DR. TIEN: Well, that's what the training is  
7 all about, right? She's supposed to handle all the  
8 events happening at the same time, then prioritize  
9 which one's first, and the second and the third. So  
10 I'm with Jim that somehow I don't know if we should  
11 have some kind of a --

12 MR. MUCHO: I agree, and I think there are  
13 answers to this and answers which most people would  
14 say common sense, but this needs done. Somebody needs  
15 to do this and do things. I'll give you another  
16 example. When we look at these mine emergencies one  
17 of the common things you see is people not putting on  
18 their SCSRs.

19 Now, I think there ought to be a hard and  
20 fast rule in the mining industry that when I see smoke  
21 I put on the SCSR. But yet that rule is not there,  
22 and that's not what people have done and it's led to  
23 problems. So I think there are some things that can  
24 be said and done, but they're not sitting out there  
25 anywhere where I can pick them off the wall and say

1 here's A, B, C, D, E down the line as to what to do,  
2 okay?

3 DR. WEEKS: I mean, I wouldn't be in favor  
4 of a rule like that because the reason that people  
5 don't put them on is they want to conserve the air  
6 because they don't know how far they have to go.

7 MR. MUCHO: And that's a bad decision.  
8 That's a bad decision.

9 DR. WEEKS: Well, I think it depends on  
10 what's going on. I'm not saying it's a good decision,  
11 I'm saying that's I think the reason --

12 MR. MUCHO: Yes, that is the reason. Yes,  
13 that is the reason. I'll save it, I don't need it  
14 right now, it's just a little bit of smoke. I mean,  
15 that's the rationale.

16 DR. MUTMANSKY: Tom, I'm a little bit in the  
17 dark as to what authority the AMS operator really has.  
18 Let's assume you're an AMS operator at a coal mine.  
19 Some of your CO monitors or sensors are indicating CO,  
20 and there's more than one sensor going off and this is  
21 indication to you of some problem, so you call the  
22 designated person or, excuse me, the responsible  
23 person and that person is not available.

24 What does the operator do under those  
25 conditions? Do they have authorization to start

1 calling sections?

2 MR. MUCHO: Not any authorization, they have  
3 a requirement to start evacuating people. When two  
4 successive alarms go off on a belt line, it's my  
5 understanding by the law they need to pull those  
6 people out-by the alarms. In that kind of a case they  
7 don't need to contact the responsible person, they  
8 just need to take that action. They know what action  
9 to take, and they need to take it.

10 DR. MUTMANSKY: Okay.

11 MR. MUCHO: But there are other variables  
12 depending on what the situation is. You're talking  
13 about as you pointed out.

14 DR. MUTMANSKY: Sure. Okay. All of a  
15 sudden we have a little bit of what I would call  
16 uncertainty here.

17 MR. MUCHO: It's a tough issue. If it could  
18 be figured out easily it would have been figured out a  
19 long time ago is the problem.

20 DR. WEEKS: Suppose we added language in  
21 here that said something to the effect that operator's  
22 top priority is operating the system? That implies  
23 you don't take people calling in for absenteeism, or  
24 calling out for pizza, or anything that's totally  
25 unrelated to safety. We're just saying that's their



1 highest priority.

2           We don't have to interpret it, we don't have  
3 to explain it, we just have to put it there.

4           MR. MUCHO: I think that would work. I  
5 mean, and what we're saying by that, if an alarm or  
6 whatever comes up with the system there their sole  
7 responsibility is to react to that.

8           DR. WEEKS: I wouldn't limit it to when an  
9 alarm comes up. A person could be distracted, the  
10 alarm, and they miss it, you know? It needs to be  
11 their top priority period at all times.

12           MR. MUCHO: Alarm stays there until they  
13 acknowledge it though.

14           DR. WEEKS: Yes. Okay. I agree.

15           MR. MUCHO: Yes. I say they can't run out  
16 for a pizza.

17           DR. WEEKS: Yes. So I wouldn't qualify this  
18 saying only during an emergency. I think at all times  
19 it's their top priority.

20           MR. MUCHO: Yes, I agree.

21           DR. MUTMANSKY: What happens typically when  
22 a person who is the AMS operator needs to leave for a  
23 few moments for personal reasons? Is there somebody  
24 standing by who just simply takes over?

25           DR. BRUNE: Well, from my experience, that's

1 just he or she takes a break and then gets back. I'm  
2 not sure if the need is such that the person can't be  
3 away from the phone and the system for a minute or  
4 two. Typically they have bathroom facilities right  
5 there, and they have their lunch right there, so it's  
6 not like this guy has to walk across the yard to  
7 satisfy personal needs.

8 DR. MUTMANSKY: Yes. Okay.

9 MR. MUCHO: I've seen a different system.  
10 In cases where there are other people around sometimes  
11 somebody will sit in. If there's a lamp man whose job  
12 is not the AMS system then he might fill in while  
13 those kinds of things. Then of course there's the  
14 remote alarms so that if they're off somewhere they  
15 hear remote alarms.

16 So it's a few different variations depending  
17 what's around.

18 DR. BRUNE: Nowadays I've also seen them  
19 take cell phones or take wireless phones with them to  
20 go to the room next door because they would still be  
21 able to reach them by phone.

22 DR. WEEKS: I want to propose some language  
23 here so we can move this along. After that I suggest  
24 putting in the highest priority of the AMS operator  
25 shall be operating the AMS.

1 DR. BRUNE: Yes. I think that's a good one.

2 DR. MUTMANSKY: Jim, in this particular case  
3 if we're going to use this kind of a sentence why  
4 don't we just simply say is responding to the AMS.  
5 Would that be acceptable?

6 DR. BRUNE: Well, there's operating, there's  
7 also other elements of operating like record keeping  
8 and not necessarily responding to it, but after. She  
9 has to make sure that the printer has enough paper to  
10 record the alarms and things like that. Those are  
11 care and feeding of the system.

12 I think this last sentence also addresses  
13 something that is, and I've been meaning to throw this  
14 wrinkle into the discussion, what if you have a small  
15 mining operation that consists of eight people that  
16 work on a section underground and perhaps one person  
17 on the outside that is the lamp man, and the supply  
18 man, and the outside phone contact and --

19 DR. WEEKS: The owner or the bookkeeper.

20 DR. BRUNE: Yes, right, right. He or she  
21 does everything else. I mean, I'm not sure if you can  
22 require for a small operation like that to have a  
23 dedicated AMS operator.

24 DR. MUTMANSKY: Well, the small operator  
25 wouldn't have an AMS system. I think that's probably

1 --

2 DR. BRUNE: Well, if they ventilate to the  
3 face then they have to have per regulation an AMS  
4 system. But then again the AMS system in this case  
5 would not be merely as complex and contain as many  
6 sensors and system components as in a large operation.

7 DR. WEEKS: Yes. This says the highest, it  
8 doesn't say the only.

9 DR. BRUNE: Right. I'm saying that in  
10 support of your sentence there.

11 DR. WEEKS: Okay. All right.

12 DR. BRUNE: That allows for some room for  
13 judgment.

14 DR. WEEKS: In Utah one of the other things  
15 that the AMS operator did was as people went from one  
16 zone of the mine to the other they would --

17 ALL: Dispatcher.

18 DR. WEEKS: Is it dispatching?

19 MALE VOICE: Dispatching.

20 DR. WEEKS: It was a tracking system, and  
21 that's a safety related matter.

22 DR. MUTMANSKY: Yes, it is.

23 DR. BRUNE: And in my opinion it only makes  
24 sense for the AMS operator to do that function because  
25 that way he or she has immediate information as to

1 where these miners are located and where they can be  
2 called in emergency.

3 DR. MUTMANSKY: Correct. That makes perfect  
4 sense. Yes. And in Utah, I believe this is correct,  
5 they were also answering the mine phone and in some  
6 cases answering the outside telephone as well. There  
7 were functions all the time. In some ways if you're  
8 going to work a 12 hour shift it would be better that  
9 you're busy for 12 hours than just sitting there  
10 because you're liable to fall asleep if you're just  
11 sitting there, so it's not all bad.

12 I was impressed by the AMS operators at the  
13 two mines in Utah. They both were women, both knew  
14 really what they were doing and could multitask very,  
15 very well. That was very impressive I thought. I  
16 still think that doesn't mean there aren't problems,  
17 though. I think there are problems, and it would be  
18 nice if we could somehow come to the proper wording on  
19 this to make the AMS operator perhaps more effective  
20 in some situations.

21 First of all, let's just discuss the final  
22 sentence there: Highest priority of the AMS operator  
23 is operating the AMS. Does anybody have any  
24 reluctance to support that part of the recommendation?

25 (No response.)

1 DR. MUTMANSKY: Okay. Is that good enough,  
2 Jim, do you think? Is it good enough to say it that  
3 way? We had earlier talked about having an easy  
4 button that the person pushed, and all these outside  
5 phone calls would cease and they would just pay  
6 attention to the emergency at hand. Maybe that's not  
7 very practical or maybe that's not the best way of  
8 doing it.

9 DR. WEEKS: Well, in the discussion section  
10 we could go into a little bit more of a nuance  
11 discussion of what the issues are not only about this  
12 but also about the hours of work issue. I think we  
13 should. I mean, I don't think we're in a position to  
14 say they should only work eight hours.

15 I don't think we know enough, et cetera, to  
16 do that, but I do think we ought to raise the issue  
17 and say there's a potential problem here, we may have  
18 to deal with it in some way. I think we can do that  
19 in the discussion.

20 DR. MUTMANSKY: Okay. All right. Yes.  
21 Felipe, go ahead.

22 DR. CALIZAYA: I have a question about that.  
23 My question is about training and verification.  
24 Could ask that think at one point we mentioned maybe  
25 the training should be done by a consultant and the

1 certification is by MSHA or something. The main point  
2 that I want to make here is about the evaluation.

3 Doesn't show up here. Maybe it's in your  
4 discussion.

5 MR. MUCHO: Evaluation?

6 DR. CALIZAYA: Evaluation of training.

7 MR. MUCHO: That's the certification  
8 process.

9 DR. CALIZAYA: Well, certification is  
10 something else.

11 MR. MUCHO: By certifying some sort of  
12 testing procedure to see that people understood the  
13 training, understood what they need to do given  
14 whatever situations, and whatever background and given  
15 that they understand the operation of the AMS system  
16 itself.

17 DR. MUTMANSKY: Tom, early on I remember in  
18 our discussions somebody had suggested that the AMS  
19 system manufacturer should be the right person to test  
20 the person. Is that still our thinking or is that not  
21 our thinking?

22 MR. MUCHO: Well, if you recall some of that  
23 discussion in some cases that's done, in some cases it  
24 isn't. In training plans the operator submits a  
25 training plan to MSHA which MSHA then merely approves

1 the training plan. How that's accomplished, whether  
2 it's done by AMS manufacturers, whether it's done in-  
3 house where they bring in some consultant, I really  
4 don't think that's anything we ought to be touching.

5 I mean, it needs to be done, they need to  
6 know how to operate the system, they need to know what  
7 to do when they get alarms, but for us to specify or  
8 talk about how that should be done, I think we're way  
9 afield if we get there.

10 DR. WEEKS: I mean, I think as a matter of  
11 fact every one of these systems is custom made, and  
12 the manufacturer has to be involved in the training.  
13 I think it's just inescapable.

14 DR. MUTMANSKY: Jürgen, you were going to  
15 say something?

16 DR. BRUNE: Yes. I just to throw in,  
17 Felipe, if you think about certification of mine  
18 foremen or fire bosses those are typically certified  
19 by the state and not even by MSHA. MSHA only  
20 certifies the testing for gas. MSHA has in the past  
21 and I guess today still accepts the certification that  
22 the state issues for mine foremen and fire bosses.

23 So it's not up to us to recommend that one  
24 does it better than the other or so. I think that's  
25 something that MSHA and the state need to work out.



1 DR. MUTMANSKY: Tom, there's one other  
2 thing. Should we call this AMS Operator Training  
3 Certification instead of Verification?

4 MR. MUCHO: Yes. We say certification down  
5 below. Again, this is one of these cases where we've  
6 been all over the place with words, and wordsmithing  
7 and mishmashing.

8 DR. MUTMANSKY: Does that look good? Does  
9 that look all right to you?

10 MR. MUCHO: Yes. That works.

11 DR. MUTMANSKY: Okay. Yes. Jerry, you were  
12 hoping to say something?

13 DR. TIEN: Yes, yes. I'm still trying to  
14 come in. Along the conversation Jim and you are  
15 talking about you remember three of us when we visit  
16 those two Utah mines the manufacturers actually not  
17 only in the training business but they also supply.  
18 There's a financial -- in other words, they're paid.  
19 I think they're on the manufacturers' payroll. Am I  
20 right to remember that?

21 DR. BRUNE: I believe the way that works is  
22 when the mine operator installs a system the cost for  
23 the installation also includes the cost for training  
24 by either representatives of the manufacturer or  
25 contractors that do that for a living.

1 DR. MUTMANSKY: That's my understanding,  
2 also. However, they were employees of the mining  
3 company, they were not employees of the manufacturers  
4 of the AMS system. I believe that's correct. Could  
5 be wrong on that.

6 DR. TIEN: Jim, what do you remember?

7 DR. WEEKS: Well, my memory is not sharp on  
8 this, but at some point, there was someone  
9 significantly involved with the AMS system that was a  
10 contractor and in fact was not an employee of the mine  
11 operator, but I don't remember exactly how it came  
12 down. I don't have any real problem with that.

13 I mean, personally I think the person should  
14 be an employee of the operator so that loyalties are  
15 unambiguous, but I honestly don't remember.

16 DR. TIEN: Well, that's really beyond the  
17 charge of our charge.

18 DR. WEEKS: Yes, right.

19 DR. TIEN: We're going to figure out how to  
20 do that later on.

21 DR. BRUNE: The other thing with respect to  
22 training is that there's typically two components of  
23 that training. One is the technical training as to  
24 how to operate and how to interpret the readings, how  
25 to operate the system, how to put new paper in, how to

1 do those things. The other one is the operator  
2 specific procedure as to what to do in case of an  
3 alarm, and who to alert and what process to follow.

4 So there's two distinctly different and  
5 specific elements of that training.

6 DR. MUTMANSKY: That's true, that's true,  
7 and each individual company may have different  
8 procedures based upon who the responsible person is.

9 DR. BRUNE: Right.

10 DR. MUTMANSKY: That's another difference.

11 DR. BRUNE: Yes.

12 DR. MUTMANSKY: Okay. Well, this was a very  
13 simple straightforward recommendation, and we've spent  
14 a lot of time talking about it but I think it's  
15 important to clarify all aspects of the  
16 recommendation. At this point in time is everybody  
17 satisfied? Do we need more discussion at this point  
18 or are we ready to plunge into the voting process  
19 here? Do we have the right words? AMS Operator  
20 Training Certification.

21 The panel recommends that MSHA commence  
22 rulemaking that would require the qualification and  
23 certification of AMS operators as defined by 30 CFR §  
24 75.301. The highest priority of the AMS operator is  
25 operating the AMS.

1 DR. TIEN: Do we need a comma before as?  
2 DR. MUTMANSKY: Comma where?  
3 DR. TIEN: After the AMS operator in the  
4 middle sentence, middle page.  
5 MALE VOICE: You were suggesting taking it  
6 out.  
7 DR. MUTMANSKY: I think it probably can be  
8 taken out. Does anybody have a contrary thinking  
9 about that?  
10 MR. MUCHO: Take it out.  
11 DR. MUTMANSKY: Okay. This is our final  
12 wording now. All right.  
13 Felipe, you vote first.  
14 DR. CALIZAYA: Yes, I agree.  
15 DR. MUTMANSKY: Jim?  
16 DR. WEEKS: Yes.  
17 DR. MUTMANSKY: I vote yes. Tom?  
18 MR. MUCHO: Yes.  
19 DR. BRUNE: Yes.  
20 DR. MUTMANSKY: Jerry?  
21 DR. TIEN: Yes.  
22 DR. MUTMANSKY: Everybody votes yes. Okay.  
23 Thanks. Thank you for working through those minor  
24 points that we had to work through.  
25 DR. WEEKS: Just as a compulsive measure of

1 productivity we spent about two and a half minutes per  
2 word on that.

3 DR. MUTMANSKY: Thank you for that  
4 statistic, but I want you to know, Jim, that we are  
5 ahead of schedule and we're doing very well at this  
6 point in time. It's almost 4:30. At this point in  
7 time we might want to poll the group here. Let me  
8 just know how many more recommendations we want to  
9 take today.

10 Should we take one more and quit or should  
11 we keep working? I think as far as AMS operators'  
12 shifts are concerned we're only halfway through the  
13 shift, so we could go much further. However, it seems  
14 as though because we're very well on schedule and  
15 we're doing very well my suggestion would be we take  
16 one more today, okay, and then call it quits.

17 DR. TIEN: How long is it going to take?

18 DR. MUTMANSKY: How long is it going to  
19 take? How many words are in that one?

20 DR. WEEKS: Yes, I agree with that. I would  
21 be reluctant to go much farther. I mean, I've got  
22 some homework to do tonight, and seeing as we are  
23 making pretty good progress I'd like to wrap it up  
24 here soon so I get on with it.

25 DR. MUTMANSKY: Do you want to take this No.

1 14, Escapeways?

2 DR. WEEKS: Yes. No, I think it's fine if  
3 we can deal with this.

4 DR. MUTMANSKY: All right. This particular  
5 one is on escapeways. It's No. 14, and it's going to  
6 be presented by Felipe, right? Felipe?

7 DR. CALIZAYA: Okay. I will start with that  
8 description. I think you all have that one. What I  
9 would do before I go into details of this, I want to  
10 show you couple slides. This is pretty much the same  
11 thing, the same description, primary and alternate  
12 escapeways from working faces ventilated by -- what  
13 I'm trying to say here is escapeways should be built,  
14 designed, constructed to maximize the possibility of  
15 escape.

16 They should be ventilated with intake air  
17 preferably. Now, here there are a couple of terms I  
18 should say that need to be stress. One is the fact of  
19 maximizing the possibility of escape. That means  
20 really shortest path from working section, working  
21 area, to surface, to exit. The second one deals with  
22 ventilating with intake air.

23 Next slide, please. So that's what I'm  
24 highlighting here. Escapeways should be located to  
25 follow the most direct safe route from working section

1 to surface. These passageways should be effectively  
2 separated from each other and from other entries by  
3 permanent stoppings, doors and overcast.

4 Now, I have a couple of slides that shows  
5 this. This is a mine in the western states. You can  
6 see the length of panels in order of 10,000 to 12,000  
7 feet. The width is 300 to 400 feet. On one side you  
8 see the mains and then the pilot mine on the other  
9 side while most of the access is through the mains, so  
10 there you can see more than five panel increase for  
11 main entries and that splits into the workings.

12 Now, what we are after, let's say that we  
13 are working in that long-wall section, we really need  
14 primary and alternate escapeway from the face all the  
15 way to surface, so in each case we have at least one  
16 primary escapeway and one alternate escapeway. Now,  
17 hopefully if they are both ventilated with fresh air  
18 then there is good chance to go to safety.

19 Now, the problem that I highlighted here is  
20 that the fact of going from the working face all the  
21 way to surface we have hundreds of stoppings. We have  
22 stoppings cross-car, we have stoppings overcasts,  
23 doors, and those stoppings, if they are not built of  
24 the right material or they're not built using the  
25 right technique they will cause leakage.

1           When we say this entry should be ventilated  
2 with fresh air vent we are saying that they have  
3 positive pressure, and therefore, if there is any  
4 leakage it will be from the escapeway towards other  
5 entries. Next slide, please. In this example we are  
6 showing the way how a development heading is  
7 ventilated.

8           In the first slide you have the intake,  
9 which is also the primary escapeway, and the belt is  
10 the secondary or alternate escapeway. That's the  
11 neutral belt system. If that's the case, if there is  
12 any fire in the belt entry then the firefighters are  
13 on the return side, and that's one of the drawbacks of  
14 that method, whereas if we change that to a system  
15 shown in the second diagram the belt air increased use  
16 for intake then we have two advantages here.

17           The first one is that both escapeways are  
18 ventilated with clean air, fresh air, and if there is  
19 any leakage between the primary and alternate  
20 escapeway it's not really a major problem because they  
21 have both positive pressure, so that's one advantage.  
22 In that case, if there is any fire in the belt entry  
23 then the firefighters, they have the right  
24 ventilation.

25           That's one point about this type of



1 ventilation regarding escapeways. The next slide,  
2 please. This one shows ventilation of the escapeways  
3 for the long-wall section. Now, again, you can see  
4 the same ventilation set up intake and belt. They're  
5 both ventilated with fresh air.

6 Now that's one issue. The other issue is to  
7 keep those entries, both escapeways, in good  
8 condition. That means good maintenance. They should  
9 be travelable and in safe conditions at all times.  
10 Then I'm suggesting there, that was one of the  
11 discussion points, to keep these ones free of dust.  
12 That means good maintenance.

13 Next. Now, what are the potential problems?  
14 The potential problems are that when the water cans  
15 or the sections are away from surface then we said we  
16 have hundreds of stoppings and but something else we  
17 have to mention here, the fan's main pressure sources  
18 are located on surface, whether they are exhaust  
19 systems or they are blower systems.

20 There will be places where we will need  
21 stoppings and doors. If the stoppings and doors are  
22 not in good shape, especially the ones that are close  
23 to the main vents they are subject to high pressure  
24 differentials. If we have high pressure differentials  
25 every time when we have doors they are safety hazards,

1 especially if they are in the order of two inch or  
2 above two, three, four inches.

3           We are talking about high pressure  
4 differentials. In this example I'm just showing one  
5 case where the door is -- you can see in that diagram  
6 the location of the doors and the location of the  
7 stoppings. Next slide, please. This is one example  
8 that shows one equipment door. This may be near the  
9 main vents, okay? If we have single doors like this  
10 they are source of leakage, and they are also sources  
11 for potential accidents.

12           No matter whether this is pneumatic or  
13 manual pull switch type they are subject to high  
14 pressure differentials. Now, in many cases like this  
15 we should be thinking air-lock doors, two doors that  
16 are operated in a synchronized manner. Next. This  
17 one shows personnel door. Again, if those doors are  
18 located very close to the main vent they are subject  
19 to high pressure.

20           Next, please. This slide shows the location  
21 of an airlock door, well, an air-lock door near the  
22 main vent. You can see on top what I meant by air  
23 lock doors. If we have equipment doors then we need  
24 to have two doors in permanent stoppings. If we have  
25 a manned door the manned door may be of the kind that

1 I have to the right.

2           The point that I want to make is that where  
3 this two inch come from. When we have two inch  
4 pressure and we have a door which is four by four feet  
5 in size then the area is 16, and that means two inches  
6 is equivalent to 166 pounds. Half of that, maybe it's  
7 100. We can say it's 100 by the hinges, but the other  
8 half should be handled by the operator.

9           Now, if we're in an emergency, we're trying  
10 to go from primary escapeway or from alternate  
11 escapeway to primary escapeway then we need to go  
12 through these doors. If we don't have this air lock  
13 system then we will be struggling with the doors. If  
14 that's the case we may lose precious time by doing  
15 that, and sometimes we will get into accidents.

16           From that point of view I said every time  
17 when the pressure is above two inches we need to have  
18 an air-lock system. Now, this two inches is subject  
19 to discussion. In some mines they use one, in other  
20 mines they use three. It's really up to us to  
21 recommend or to come up with one number that makes  
22 sense.

23           Eighty-three pounds, I think nobody here can  
24 pull a door that has that much pressure. Okay. I  
25 think those are the major. This is the next one.

1 Those are the supporting elements for that  
2 recommendation.

3 DR. MUTMANSKY: Okay. We open up this  
4 recommendation for discussions.

5 MR. MUCHO: I'm not sure how hard we're  
6 recommending that, but that pressure should be in a  
7 pressure over area rating such as PSI than specifying  
8 doors, door sizes and what not. Get's a little  
9 difficult when you start talking about two inches of  
10 water gauge, for example, and a four by four door. A  
11 lot of doors aren't that size and I don't know what  
12 that means.

13 DR. WEEKS: It's certainly easier to convert  
14 when it's in PSI.

15 DR. MUTMANSKY: Well, the standard of  
16 ventilation pressure is in water gauge, so that's just  
17 natural to express it in that way as well. So,  
18 Jürgen, you were going to --

19 DR. BRUNE: I think the point that Tom is  
20 making is not all doors are four by four doors. In  
21 fact, if you have a door in a main entry escapeway I  
22 believe it has to be six feet wide because you have to  
23 be able to go through with a person on a structure  
24 where typical doors in at least the eastern United  
25 States coal mines are only two by two foot.

1           And you can open a door that's two by two  
2 foot fairly easily even if it has probably up to five,  
3 five and a half inches of water gauge. That's when  
4 you start having trouble opening those. Typically  
5 those high pressures you only encounter near shaft  
6 bottoms.

7           So if you make the door smaller, which in  
8 most cases is certainly possible, then -- I would  
9 personally not go to any prescriptive regulation here  
10 or recommendation that says when you have more than  
11 two inches over doors you have to build double doors,  
12 something like that. I'm not sure if we need to go  
13 there as a panel.

14           DR. CALIZAYA: Couple of comments. When Tom  
15 mentioned about PSI --

16           MR. MUCHO: Pounds. Let me correct that. I  
17 was really looking at pounds of force.

18           DR. CALIZAYA: Okay. In fact, what Jim said  
19 is correct. Inch water gauge is the one that we use  
20 in ventilation. And PSI would be very, very small  
21 number. Regarding the size of the doors, yes, our  
22 current regulation talks about sizes, talks about five  
23 feet or six feet minimum height and the width is about  
24 four feet, except we have some exceptions there when  
25 you have support system and so on.

1           In any case, we are talking about doors that  
2 are in the order of four feet by four feet. Small  
3 doors we may have some cases, but the ones that I  
4 showed they were three by four. That's the size that  
5 I saw most of the time.

6           DR. MUTMANSKY: I was unaware, but I think  
7 most of the eastern mines do use the two by two.

8           DR. TIEN: Two by two.

9           DR. BRUNE: Either two by two or 33 inches  
10 square.

11          DR. TIEN: Probably, you're talking about  
12 the western coal mines, the coal height is such you  
13 can afford build four by four. When the low coal you  
14 don't have even four feet, so let alone a door.

15          DR. CALIZAYA: The point here is we are  
16 talking about escapeway doors, all right, in case we  
17 had someone injured and we are carrying that injured  
18 person with us. According to the regulation the  
19 escapeway doors should have this minimum space so that  
20 this injured person plus the two other workers that  
21 were carrying that person will go through.

22          DR. BRUNE: Felipe, I don't disagree with  
23 your argument fundamentally.

24          I think it is right to make the argument  
25 that it must be possible for a miner with reasonable

1 strength to travel the escapeway without any trouble,  
2 and I would contend that during the escapeway workings  
3 that the miners are doing currently every month or so,  
4 every crew member has actually to walk the escapeway  
5 all the way out, I think during that time it should  
6 become apparent whether these miners can open the  
7 doors very easily or not.

8           I think we should rather say that all doors  
9 should be able or should be possible to open all these  
10 doors with reasonable force and an average miner  
11 should be able to do that rather than being so  
12 prescriptive as to say if it's more than two inches  
13 water gauge we should have double doors, something  
14 like that.

15           I'm just trying to simplify the argument  
16 here, but I fully agree with making certain that the  
17 escapeway can in fact be traveled even by a person  
18 without any other help.

19           DR. MUTMANSKY: Okay. Jerry, you want to  
20 say something?

21           DR. TIEN: Yes. I'm looking at the two  
22 sentences over there, and the second one is in a way  
23 pretty prescriptive. Got to be ventilated by intake  
24 airway, or preferably anyway. It's definable. The  
25 first one is pretty wide open. I don't know if should

1 we be a little bit more specific or that's not the  
2 place for it?

3 DR. MUTMANSKY: What do you want to be more  
4 specific about?

5 DR. TIEN: I don't know. I'm just looking  
6 at it. I don't see much there. Or can we make it  
7 more specific?

8 MR. MUCHO: One of the things I see about it  
9 is how is that not covered by current regulations and  
10 so forth. I mean, some of the language was exactly  
11 the same in terms of maintenance and so forth, design.

12 DR. MUTMANSKY: I think that's an important  
13 point, Tom. Question is if you don't like this  
14 particular expression of the escapeway recommendation  
15 do you have a recommendation other than this?

16 MR. MUCHO: I'm guessing that the crux of it  
17 is that we're recommending that preferably they be on  
18 intake air. Is that right?

19 DR. MUTMANSKY: As it currently reads you  
20 could interpret it that way I guess.

21 MR. MUCHO: I don't have a problem with  
22 that.

23 DR. MUTMANSKY: I would like to bring up a  
24 new subject that we haven't yet brought up, and that  
25 is in some of the recommendations that our



1 subcommittee brought forward there were comments from  
2 the MSHA personnel that it seems as though the  
3 problems alluded to here are already covered in our  
4 regulations and therefore they bring into question  
5 those particular recommendations.

6           Now, one of the things that we could  
7 consider here is is this recommendation necessary,  
8 that's one of the things we can consider, or is it  
9 necessary but needs revision, or number three, is it  
10 essential? We can consider any three of those, okay?

11 I do believe escapeways are pretty well-covered in  
12 the regulations. The question is what do the rest of  
13 you think?

14           DR. BRUNE: Well, my question is do we have  
15 evidence from previous accident investigations to the  
16 effect that escapeways were not properly designed  
17 maybe excluding not properly marked, but has there  
18 been a problem with the escapeways that they were  
19 obstructed or that were improperly designed? Is there  
20 something that we want to address in that respect to  
21 say hey, let's pay more attention to this?

22           DR. MUTMANSKY: Well, Aracoma is definitely  
23 a --

24           MR. MUCHO: Outside of marking.

25           DR. BRUNE: I mean, marking is one thing,

1 but that's not really addressed here because --

2 DR. WEEKS: No. There's also ventilation in  
3 Aracoma, it wasn't just marking.

4 MR. MUCHO: Well, yes, that's true.

5 DR. MUTMANSKY: There were a number of  
6 problems there at Aracoma, yes. Okay. Nonetheless,  
7 we still have it before us, and we're still  
8 considering it and we still have to make an assessment  
9 of whether it's necessary, or whether it's necessary  
10 but needs revision, or do we want to eliminate it?  
11 That is the question.

12 DR. WEEKS: Felipe, what does this do that  
13 the current regs don't do?

14 DR. CALIZAYA: Well, about the second part  
15 should be ventilated intake air preferably. That one  
16 is not stated there. Here, we are suggesting that  
17 both primary and secondary escapeways should be  
18 ventilated with intake air. That has to do a lot with  
19 the next section which deals with leakage.

20 If we have fire in the belt entry and those  
21 stoppings or doors are not in good condition then  
22 there is a possibility of contaminating the primary  
23 intake with the smoke that's generated in the belt  
24 entry.

25 DR. BRUNE: Would it be a solution to

1 consider this No. 14 in conjunction with the next one,  
2 and maybe we don't want to go into that today, but  
3 maybe take the relevant portions of 14 and 15 together  
4 and formulate them as a coherent, new recommendation.

5 Would that be something that you would entertain?

6 DR. CALIZAYA: Maybe we should go and look  
7 at that Recommendation 15 and then come back to this.

8 DR. BRUNE: We can do that, yes.

9 DR. MUTMANSKY: Okay. We can indeed do  
10 that. They are connected together. There's a  
11 reference in the next one that seems to be important,  
12 and this is a reference by Alan Dupree, Mark Schultz  
13 and Bill Francart, the effect of stopping leakage on  
14 intake escapeway integrity. Maybe we need a summary  
15 of what that paper says, and it may be that it would  
16 be appropriate for us to review that before we take up  
17 No. 14.

18 Is that a general feeling of the group here?  
19 Do we wish to do that tomorrow morning?

20 MR. MUCHO: Yes. Might be a good idea.

21 DR. MUTMANSKY: Okay. So it is appearing as  
22 though the panel as a whole is saying let us consider  
23 leakage and let us consider the escapeway  
24 recommendation tomorrow morning by initiating a study  
25 of Recommendation No. 15 first and then combine our

1 discussions of 14 and 15 in one manner or another,  
2 either separately or together, and try to go to those  
3 decisions tomorrow morning.

4           Everybody in agreement? Everybody signifies  
5 by saying yes. Okay. We will then take up the issues  
6 tomorrow morning, and we will get together at 9:00.  
7 Is that right? 9:00 a.m. tomorrow in this room we  
8 will meet again to continue our discussions of the  
9 recommendations. Thank you for your cooperation  
10 today. I appreciate all the support we have also from  
11 the MSHA people, and I look forward to meeting again  
12 tomorrow at 9:00 a.m.

13           (Whereupon, at 4:50 p.m., the hearing in the  
14 above-entitled matter was adjourned, to reconvene at  
15 9:00 a.m. on Tuesday, September 18, 2007.)

16 //

17 //

18 //

19 //

20 //

21 //

22 //

23 //

24 //

25 //

REPORTER'S CERTIFICATE

CASE TITLE: MSHA: Technical Study Panel  
HEARING DATE: September 17, 2007  
LOCATION: Reston, Virginia

I hereby certify that the proceedings and evidence are contained fully and accurately on the tapes and notes reported by me at the hearing in the above case before the Department of Labor, Mine Safety and Health Administration.

Date: September 17, 2007

Mona McClellan  
Official Reporter  
Heritage Reporting Corporation  
Suite 600  
1220 L Street, N.W.  
Washington, D.C. 20005-4018

Heritage Reporting Corporation

(202) 628-4888