

UNITED STATES DEPARTMENT OF TRANSPORTATION
PIPELINE AND HAZARDOUS MATERIALS SAFETY ADMINISTRATION
OFFICE OF PIPELINE SAFETY

INLINE INSPECTION PUBLIC MEETING

Galleria I and II
Westin Galleria Hotel
5060 West Alabama
Houston, Texas

Thursday, August 11, 2005
8:30 a.m.

Pipeline and Hazardous Materials Safety Administration
and Office of Pipeline Safety Representatives

BRIGHAM McCOWN
PHMSA Acting Administrator

STACEY GERARD
PHMSA Acting Assistant Administrator
Chief Safety Officer

BRUCE HANSEN
PHMSA/OPS Senior Program Manager

JOY KADNAR
PHMSA/OPS Director of Engineering Services
and Emergency Response

WILLIAM H. GUTE
PHMSA/OPS Eastern Region Director

CHRIS HOIDAL
PHMSA/OPS Western Region Director

RICHARD SANDERS
PHMSA/OPS Director of Training and
Qualifications

Pipeline Industry and Inline Inspection Vendor
Representatives

PETER T. LIDIAK
Director, Pipeline Segment
American Petroleum Institute

EXECUTIVE COURT REPORTERS, INC.
(301) 565-0064

Pipeline Industry and Inline Inspection Vendor
Representatives (Continued)

DAVE BOWMASTER
Director of Pipeline Services
El Paso Pipeline Group

JOHN GODFREY
Pipeline Integrity Administrator
Explorer Pipeline

ANDY DRAKE
Director, Pipeline Integrity and Operational
Compliance
Duke Energy Gas Transmission

EYDSTEIN EGHOLM
Senior Engineer
Det Norske Veritas

GARRETT WILKIE
Pipeline Integrity Manager
BJ Pipeline Inspection Services

KEN MAXFIELD
Vice President of Operations
TD Williamson/Magpie Industries

LISA BARKDULL
Manager, UT Data Analysis
Tuboscope Pipeline Services

SHAHANI KARIYAWASAM, Ph.D.
Integrity Services, Decision Support Manager
GE Oil & Gas

BRYCE BROWN
Manager of Integrity & Compliance
Rosen North America

PAM MORENO
President
Inline Inspection Association

DAVID CULBERTSON
Past President
American Society for Nondestructive Testing

Pipeline Industry and Inline Inspection Vendor
Representatives (Continued)

LINDA GOLDBERG
Director, Technical Activities
NACE International

BRYAN MELAN
System Integrity Leader
Marathon Ashland Petroleum LLC

DR. FRANCI JEGLIC
National Energy Board, Canada

SHAMUS McDONNELL
Hunter-McDonnell Pipeline Services

BRIAN SITTERLY
Integrity & Regulatory Services Manager
Shell Pipeline Company LP

BERNIE SELIG
Consultant
P-PIC

A G E N D A

<u>AGENDA ITEM:</u>	<u>PAGE:</u>
Introduction of PHMSA Acting Administrator Brigham McCown Stacey Gerard	8
Remarks by PHMSA Acting Administrator Brigham McCown	9
Opening Remarks Stacey Gerard	12
Integrity Management and Inline Inspection Perspectives	
Integrity Management: Background Brian Hansen	19
Inline Inspection: Lessons Learned Joy Kadnar	26
Hazardous Liquid Pipelines: Industry Metrics and Impact of Integrity Management on Pipeline Safety Peter T. Lidiak	34
Panel: Inline Inspection Practices and Data Management Strategies Moderator: William H. Gute	43
ANR Pipeline: Inline Inspection Program History Dave Bowmaster	45
Quality Assurance: Hazardous Liquid Pipeline Perspective John Godfrey	53

A G E N D A

<u>AGENDA ITEM:</u>	<u>PAGE:</u>
Panel: Inline Inspection Practices and Data Management Strategies (Continued)	
Quality Assurance of Inline Inspection Programs: Natural Gas Pipeline Perspective	65
Andy Drake	
ILI Results and Best Practices	76
Eydstein Egholm	
Question-and-Answer Session	86
Panel: Good Decision Making: Inline Inspection Vendors' Perspective	100
Moderator: Chris Hoidal	
Data Quality Assurance and ILI Personnel Operator Qualifications	102
Ken Maxfield	
Operation Considerations: Tool Selection and Proper Application of the Technology	114
Garrett Wilkie	
Field Data Verification, Feedback Loop, and Importance of Accuracy on Advanced Analysis/Risk Management Methods	123
Lisa Barkdull	

A G E N D A

<u>AGENDA ITEM:</u>	<u>PAGE:</u>
<u>Afternoon Session</u>	
Panel: Good Decision Making: Inline Inspection Vendors' Perspective (Continued)	100
Advanced Analysis Methods	138
Shahani Kariyawasam, Ph.D.	
Ensuring Confidence in ILI Methodologies	151
Bryce Brown	
Question-and-Answer Session	159
Panel: Guidance Provided by Inline Inspection Standards	184
Moderator: Richard Sanders	
Overview of ILI Standards and ILIA's Contribution to Standards Development	193
Pam Moreno	
Genesis of ASNT and API Standards and Details of ASNT ILI-PQ Standard, "ILI Personnel Qualification"	204
David Culbertson	
NACE State of the Art ILI Report and RP0102-2002 "Recommended Practice: Inline Inspection of Pipelines"	215
Linda Goldberg	
API 1163, "ILI Systems Qualification"	225
Bryan Melan	
Question-and-Answer Session	234

A G E N D A

<u>AGENDA ITEM:</u>	<u>PAGE:</u>
Panel: How can Assessments be Improved to Carry Out the Intent of the Regulations?	236
Moderator: Joy Kadnar	
Panel Members:	
Dr. Franci Jeglic	
Shamus McDonnell	
Brian Sitterly	
Bernie Selig	
Remarks by Bernie Selig	239
Remarks by Brian Sitterly	242
Panel Discussion	246
Questions	261
Closing Remarks	265
William H. Gute	

P R O C E E D I N G S

8:30 a.m.

Introduction of

PHMSA Acting Administrator Brigham McCown

Stacey Gerard

MS. GERARD: Good morning. It's a great day when you can get this many people in the room in Houston, Texas, this early in the morning to talk about pipeline safety. So we're off to a good start, and it's an even better start because the new Acting Administrator of PHMSA took time out of his schedule to come down and get a feel for this issue. And it isn't every day that somebody walks in on the job and will make a trip like this to be part of what's going on.

So I'm very proud to introduce my new boss, who is Brigham McCown. He has been in the Department as the counsel for the Motor Carrier Administration.

In order to describe Brigham, I have to say he's a cross between an energy lawyer and a Navy pilot, and so I think that's a good thing. I know one thing for sure is there's nothing he's afraid of and he takes the throttle very quickly. So I wanted to give you an opportunity to get to know Brigham McCown just a little bit.

Brigham?

1 (Applause)

2 Remarks by PHMSA Acting Administrator Brigham McCown

3 MR. McCOWN: Thanks, Stacey. It's a pleasure
4 to be here today. It's always a pleasure, wanting to
5 get outside of the Beltway, and it's a really special
6 pleasure to be back home in Texas today.

7 As you may have heard from Joy, DOT underwent
8 a reorganization last year where the former RSPA was
9 split off into two separate operating administrations,
10 RITA, which will concentrate on innovative technology
11 research, and PHMSA, which is the marriage of the
12 Offices of Pipeline Safety and Hazardous Materials
13 Safety. And this consolidation brings a vast majority
14 of the Department's energy transportation component
15 into one single agency.

16 We have an exciting mission. Our mission,
17 first and foremost, is safety, but at the same time we
18 look forward to our consulting role with Homeland
19 Security on the security component, as well as other
20 parts of the government in the energy sector, our
21 infrastructure, and protecting our communities as well.

22 DOT recognizes the importance of this
23 industry, and I think it's very important that we share
24 the practical knowledge and experiences and know-how
25 through forums such as this. We need new initiatives,

1 we need to refine our current initiatives, and we need
2 to keep some initiatives that are working well as we
3 address the national needs.

4 Secretary Mineta recently spoke to the CEOs
5 of the oil industry, about two weeks ago in Annapolis,
6 and I wanted to share a couple of thoughts that he had.

7 I pulled his speech because when I'm talking about my
8 boss I don't want to get it wrong.

9 And as he's talking to these CEOs, one of the
10 things he said, it's like arteries carrying precious
11 blood to the heart. Pipelines transport precious
12 natural resources that are the lifeblood of our
13 country.

14 He also said that today pipelines carry
15 almost 66 percent of the energy products consumed in
16 our country, and it is not surprising, therefore, that
17 pipelines are by far the most important mode of
18 transportation for energy products in the United
19 States, and they are among the safest.

20 He noted that on average there had been about
21 two fatalities and less than nine injuries per year
22 during the last decade, and even though one death was
23 too many, this record is clearly impressive compared to
24 other forms of transportation. He said, for that I
25 thank you, and please keep doing what you're doing.

1 He said the Department of Transportation, and
2 it is his goal, that we help the companies be safer
3 today than they were yesterday, and safer tomorrow than
4 they are today.

5 He concluded by saying our ultimate goal is
6 zero: no deaths, no injuries, no releases to the
7 environment, no operating errors.

8 And I think when you have the Secretary of
9 Transportation, who is, from his experiences on the
10 Hill and his service to the government, is one who is
11 keenly aware of the transportation sector and
12 recognizes the vital importance that this sector plays.

13 And so we at the Department of Transportation think
14 that forums such as this are crucial to help us
15 understand how to move forward and how to reach our
16 goal, which is good for safety and good for the
17 economy, to ensure safe and efficient and reliable
18 service to all of the customers.

19 And in this day and age of questions
20 regarding capacity, usage of energy products, an
21 uninterrupted supply of energy is necessary if we're
22 going to keep our economy growing and moving forward.

23 And just this morning, while watching CNN
24 News, there was an article -- a story being run that
25 pipelines are at capacity at several of the airports

1 and that they are trucking supplies in because they're
2 unable to meet current demands. And I think that's a
3 telltale sign of how important it is not only to
4 identify risks and issues, to fix the issues, and to
5 keep the pipelines safe not only, again, for the safety
6 of all of our citizens but for the economy.

7 So, with that, I thank you, and I look
8 forward to sitting in the back of the room and
9 listening to the discussions today. Thanks very much
10 for your time.

11 (Applause)

12 MS. GERARD: Thank you, Brigham. And I think
13 I forgot to say a Texas energy lawyer. Did I forget
14 the Texas part? I'm so sorry. He adopted Texas as his
15 home state. He was actually born in Ohio, but he likes
16 Texas attitude, so I think that says a lot.

17 MR. McCOWN: I got here as quickly as I
18 could.

19 MS. GERARD: We wanted to keep you just a
20 little while in Washington.

21 Opening Remarks

22 Stacey Gerard

23 MS. GERARD: What we do together in settings
24 like this and in other meetings and forums that you all
25 sponsor and that we sponsor has always been important.

1 We've striven for continuous improvement just for the
2 sake of safety, in addition to the other reasons that
3 Brigham just mentioned.

4 We've had two goals. They've been our goals.
5 They're going to be our goals for integrity
6 management: improve protection in the high consequence
7 areas and improve confidence in the safety of
8 pipelines.

9 Now, more than ever, we must be sure that
10 we're doing everything we can to reach these goals.
11 The stakes are getting higher. The challenge of the
12 growing economy is increasing demand for product, as
13 you heard Brigham saying, stressing capacity.
14 Population continues to encroach on communities. The
15 population shifts continue to move population to places
16 where there may not be supply, raising the issue of
17 growth of the infrastructure.

18 In this environment of the Information Age,
19 it's clear that communities' need for information about
20 pipelines and communities' interest in monitoring the
21 progress of pipelines becoming safer is getting to be a
22 much bigger driver than it used to be. And we hope
23 that local officials and state officials are
24 positioning themselves to be better informed because
25 they are going to increasingly be making siting

1 decisions in their communities, whether it's moving
2 more population near a pipeline or bringing a pipeline
3 near a population. And so the issue of performance and
4 tracking is increasingly an issue that we have to deal
5 with.

6 I spoke about increased interest and
7 awareness. The Secretary of Transportation speaking to
8 the oil industry is one indicator. The Assistant
9 Secretary and the Deputy Assistant Secretary for Policy
10 have also had separate meetings in the past month
11 dealing with the oil pipeline issue, infrastructure and
12 the growth, as well as on the subject of the gas side.

13 So we see an increasing interest at the Departmental
14 level that is unprecedented.

15 And it's a relatively frequent occasion when
16 we get a phone call first thing in the morning. The
17 Secretary has been reading the newspaper, taking out
18 his clips, and he calls us up upstairs to say, "How's
19 it going?" That's not always how you want to start
20 your day because it isn't usually a good thing.

21 The IG, the Inspector General, of the
22 Department has just initiated a new audit on his own,
23 not required by statute, to look at the process of how
24 well you are identifying threats and repairing them.
25 He has a lot of statutory requirements that he has to

1 address, but of his own interest and choice he is
2 starting a major audit this month, and many of you may
3 have already been contacted.

4 On his own, he picked up the phone and called
5 Baltimore Gas and Electric and said, "I'd like to come
6 over and look at your operation." That's going on
7 today. The Department is really paying attention.

8 In addition, the General Accounting Office is
9 starting two audits this month focusing on the Gas
10 Pipeline Integrity Regulation design, oversight, and
11 implementation, and a separate audit on the issue of
12 the reassessment interval.

13 Now, those two audits are required by statute
14 in the Pipeline Safety Act. So that's three brand new
15 audits starting this month.

16 The fact that the Highway Bill and the Energy
17 Bill have just been passed leads us to expect that
18 Congress' attention will be turning to pipeline safety
19 and the reauthorization of our program very soon. That
20 reauthorization environment is always kind of a
21 different environment than, you know, the normal years,
22 so we're expecting to have a very increased level of
23 scrutiny on our performance.

24 We require operators to assess pipeline
25 integrity. We intentionally encompass a broad array of

1 technology and process in our regulatory structure. We
2 expect you to use a variety of technology and processes
3 in combination to get the best possible results, but
4 the regulations do specify a minimum floor, a minimum
5 capacity that you must meet.

6 From our unique vantage point as your
7 overseers, we see each operator's level of performance.

8 More specifically, we're seeing a range of
9 performance. While we can say that all operators,
10 every operator in this room, is emerging in its
11 capability to be able to progress and improve and to
12 assess the infrastructure and to repair it properly, we
13 think that it is important to share information today
14 on what we see as practices and procedures that we
15 think are having the best results as the integrity
16 regulation contemplated, as we expected as PHMSA.

17 This is an effort. What we're here to do
18 today is to lead you to think and make decisions in a
19 more robust manner about tool choice, about your
20 expectation from your vendors, about how you verify the
21 data that you get from vendors and your quality
22 control.

23 The purpose of the meeting is to share
24 information so that all operators know what our
25 performance expectations are. The status quo is not

1 acceptable. Things are working right, but there are
2 improvements that we need to see. There is a lot that
3 is going right, but there are improvements that we need
4 to see to comply with the regulations and to improve
5 performance.

6 All pipeline operators need to make better
7 use of the assessments to understand pipe condition,
8 how to address a condition, and how to make the right
9 decision. We hope that this meeting is very useful to
10 you. It was our agenda in PHMSA. We established the
11 agenda.

12 I know that you all have many questions and
13 concerns about how we enforce. The agenda is very
14 busy. I know there will be time for questions, but you
15 may have questions that we may not be able to address
16 today. We believe in these kinds of settings, to be
17 able to hash things out, if we can't get to all your
18 questions today, we'll be happy to pitch another tent
19 and have another meeting to discuss concerns that you
20 may not be able to get answered today.

21 I have enormous confidence in the PHMSA staff
22 who put this meeting together: Joy Kadnar, Chris
23 Hoidal, Bill Gute, Rod Seeley, Bruce Hansen. There's
24 no doubt in my mind that we have the very finest people
25 with infinite capability looking at these issues and

1 calling these questions for you. So I turn this
2 meeting back over to them with the fullest confidence
3 that they will deliver a program for you that is going
4 to be useful.

5 And again, thank you so much for your
6 attention, and we really do appreciate all the efforts.

7 We ask a lot. Our standards are very high, and we
8 will do everything we can to help you reach those
9 standards. Thank you very much.

10 (Applause)

11 MR. KADNAR: Just like Mr. McCown adopted
12 Texas as his home state and many of you may have
13 changed states, the U.S. is my home country now. And I
14 may sound unlike you; just bear with me.

15 (Laughter)

16 MR. KADNAR: I would like to now introduce
17 you to the first panel. Beside Ms. Gerard is seated
18 Mr. Bruce Hansen and Mr. Peter Lidiak.

19 Mr. Bruce Hansen is our senior program
20 manager and an exceptional engineer. He was
21 instrumental in launching the Integrity Management Rule
22 and the subsequent inspections, and is responsible for
23 the success of the Hazardous Liquid Integrity
24 Management execution.

25 Mr. Hansen will brief you on the inline

1 inspection requirements of the Inline -- of the IM Rule
2 and some of our findings pertaining to inline
3 inspections.

4 I will follow Mr. Hansen. I will delve
5 slightly into some data issues pertaining to inline
6 inspection. I will show you some images and some
7 quantitative and qualitative data that we have
8 extracted by performing some investigations. I will
9 then expose you to some best practices that we have
10 gleaned over this time.

11 Immediately after me, Mr. Peter Lidiak, who
12 is the director of the Pipeline Segment in API, will
13 give you a brief presentation. For those of you who
14 don't know, Mr. Lidiak has replaced Ms. Marty Matheson,
15 who retired recently. Mr. Lidiak will describe to you
16 some of the performance metrics that the API has culled
17 since the IM Rule and subsequent inspections were
18 launched.

19 Mr. Bruce Hansen.
20 Integrity Management and Inline Inspection Perspectives

21 Integrity Management: Background

22 Bruce Hansen

23 (PowerPoint presentation)

24 MR. HANSEN: Thank you, Joy. I appreciate
25 it. I wasn't sure who you were talking about there for

1 a second, but you kept using my name so I guess it was
2 me.

3 I have kind of an interesting objective
4 today. How many people in here have had or been
5 associated with an integrity management inspection,
6 either gas or hazardous liquid?

7 (Show of hands)

8 MR. HANSEN: Okay. I appreciate that. What
9 I'm going to say next is probably going to cause a lot
10 of disbelief, but I'm going to tell you everything
11 there is to know about hazardous liquid and gas
12 integrity management in 10 minutes.

13 (Laughter)

14 MR. HANSEN: Or something like that.

15 Just to start with the hazardous liquid; just
16 for anybody that doesn't know, we have two basic
17 programs for pipeline: hazardous liquid and gas
18 integrity management inspection processes. The
19 hazardous liquid program is basically in the regions
20 now and is being conducted by the regions, and we have,
21 looking at all inspections, somewhere around 150
22 inspections completed by now. On the other hand, on
23 the gas integrity management side, we are just getting
24 started with the inspections.

25 So, in that light, I'm going to tell you at a

1 very high level kind of some of what we're looking at
2 and some of the more focused -- the focused kind of
3 results that we've seen.

4 On the hazardous liquid side, basically just
5 to give you a just a little bit of feel for what the
6 rule -- how long it took for it to get developed and so
7 forth, we started off with the large operator rule.
8 That basically -- because of the reactions and
9 discussions related to that part of the rule, we
10 reissued the rule in January of 2002 to include repair
11 -- include the repair provisions. They took a little
12 bit longer to develop.

13 And then, finally, the version of the rule
14 that we're using right now -- there have been no
15 changes to this yet -- is the January 16, 2002, and
16 this basically extended all the requirements to all
17 pipeline -- hazardous liquid pipeline operators.

18 Just -- this is basically the program
19 elements that are inspected. Everybody that has had an
20 inspection has been through these in a lot of detail.
21 They take a while to get through. There is a lot of
22 discussion about them, but this is the basis of our
23 integrity management inspections for hazardous liquids.

24 One common thread throughout these elements
25 is data, and data -- one of the main sources of getting

1 the data is through inline inspections.

2 This is just some statistics, and these came
3 right out of the 2004 annual reports. You can get a
4 pretty good idea of what we're looking at as far as
5 inspection results, and this is specifically for inline
6 inspections. So there's been a lot of work done and
7 there's also been a lot of activity as far as
8 identifying and repairing conditions found.

9 I think it's very important to note that
10 there has been a lot of this that has happened. This
11 is not everything; I want to be clear about that.
12 We're still sorting and looking at data that will be a
13 more complete compilation of this, but for 2004, this
14 is what it looks like.

15 One of the things you need to understand,
16 too, for those of you that are either -- have had a
17 reinspection on the hazardous liquid side or are
18 scheduled for one, there is going to be more emphasis
19 on field activities. Those will include, for -- well,
20 for a great part, what you're doing from an assessment
21 standpoint, and that will include inline inspections.

22 Some of the areas that we would be looking at
23 would be the ILI run itself, the process you're using
24 and so forth, but this is a field kind of activity.
25 This is basically the inspector going to the field,

1 looking at verification digs, perhaps even checking the
2 actual run of the pig, that kind of thing.

3 The other things that are associated with
4 that; there could be some HCAs, the high consequence
5 areas, that would be reviewed and possibly even -- not
6 possibly, would -- checked in the field.

7 The others that are likely to happen is that
8 last bullet, the one about activities or implementation
9 of preventive mitigative activities that you have said
10 you're going to do or are doing.

11 A couple of issues -- and I want to be clear,
12 too. This is not the whole issue set associated with
13 hazardous liquid inspections, but two of the ones that
14 jumped out at me when I was trying to do this
15 presentation were, one, that we have a lot of emphasis,
16 and we've had almost from the beginning of doing
17 hazardous liquid inspections, looking at ILI vendor
18 requirements. And this includes the tool tolerances
19 and the time frames for completing ILI runs. These are
20 all important things for the inspection team to
21 understand what's happening for that particular
22 operator for inline inspections.

23 The second part is -- notice how this is
24 worded -- that the inspection team is looking for the
25 qualifications of the people that are actually

1 reviewing assessment results. Now, that can be -- and
2 I don't know of an instance -- I hesitate to say this,
3 but I don't know of an instance personally where we
4 challenged the actual credentials or the qualifications
5 of the person doing that result. I just don't know of
6 one of those that happened.

7 However, what we saw a lot of was that there
8 was no process in there to bring somebody else on board
9 to do that activity at the same level of qualification.

10 Now we'll move on to gas. Basically, the
11 final version of the Gas Rule that we're using is May
12 26, 2004. We have started some inspections. We have
13 divided those up into intrastate and interstate
14 inspections for the time being, and we have done
15 exactly one intrastate, and I believe the interstate
16 teams are on about their fourth inspection. So we're
17 just getting started on the gas side. I want to be
18 very clear that we've just kicked off the inspection
19 process there.

20 Now, program elements. You note that there
21 were eight for hazardous liquid. We'll keep going.
22 There's a point I want to make. These are just the
23 program elements that are going to be inspected for gas
24 integrity management. You note there are a few more.

25 Now, the point I want to make is, all of

1 these elements are going to be inspected during an
2 integrity management inspection. The elements are,
3 again, for the most part -- and I don't think there are
4 any exceptions in here -- are going to have some thread
5 of data that you're going to generate. One of the ways
6 you're going to generate it is by doing inline
7 inspections. So that's the basis of a lot of what
8 you're going to be doing, the actual implementation of
9 the integrity management requirements.

10 I got conflicted about this because I called
11 it "Expectations" to begin with, but we've only done
12 about five inspections yet. So we're guessing right
13 now. But the guess is, if there's any correlation
14 between what we did on the hazardous liquid side and
15 what we're doing with the gas, we will see a lot of ILI
16 assessments as the basis for a lot of what you're
17 doing.

18 The direct assessment. We've had a little
19 bit of experience with that. We're learning about
20 direct assessment as we go through these inspections,
21 and the operators -- the very few that we've looked at
22 for the most part seem to be learning about direct
23 assessment in a lot of areas also as we go through
24 these inspections.

25 One of the interesting things that we've run

1 into in this very small sample is that direct
2 assessment gets really important for the smaller
3 companies, more the LDC or the distribution companies
4 that have their transmission lines so integrated into
5 their systems. It really becomes a very important
6 assessment tool.

7 And I guess we're going to hold off on
8 questions? Okay.

9 Now I'll turn it back to Joy. Thanks very
10 much.

11 (Applause)

12 MR. KADNAR: Thank you, Bruce, for so
13 eloquently describing to us the rule requirements and
14 the most salient findings pertaining to inline
15 inspection. Like I said previously, I will go one step
16 further in substance, but I cannot match Bruce in
17 eloquence.

18 (Laughter)

19 Inline Inspection: Lessons Learned

20 Joy Kadnar

21 (PowerPoint presentation)

22 MR. KADNAR: Most of us recognize that inline
23 inspection devices is a boon to the pipeline -- to
24 pipeline operators. Thanks to these devices, pipeline
25 operators can now collect copious amounts of data. But

1 there's a lot more to the process than just launching
2 the tool and acquiring the data.

3 Sorry. Here is a screen capture of some -- a
4 vendor's log. Sorry.

5 This green, filled-in oval, symmetrical oval,
6 is an aperture in the pipe. It could be a stopper
7 fitting, a valve. You see two vertical lines, and
8 those are the code words for the T piece, what could be
9 called simply the T piece. We know the location, the
10 meter reading of that feature. We know it is located
11 right on top of the pipe at about the zero o'clock
12 position.

13 There's a vertical red line that goes through
14 it, down into the bottom half of the screen capture.
15 Here we have a horizontal white line that gives us the
16 wall thickness of the pipe. The wall thickness is
17 about -- is 232 mils.

18 There's no -- the white line does not cross
19 the red line and it does not cross the oval opening,
20 and that's a clear indication that there's no wall
21 thickness over here because there's no wall.

22 Just remember this picture. I'll come back
23 to it later.

24 Here is another picture of a corrosion pit.
25 Here you can see the corrosion pit on the pipe. And we

1 have the field examination data and the inline
2 inspection call-out data.

3 This picture is a metallographic section of -
4 - at this location, at the pit. The yellow line --
5 right at the bottom, the yellow curve, is the intrados
6 of the pipe. The one right on top is the extrados of
7 the pipe. And the one in between is the beginning wall
8 thickness at the scene.

9 You will see that there's a vast difference
10 between the call-out -- the maximum depth of the pit
11 called out by the inline inspection device and the
12 actual ND examination.

13 An important fact that was not picked up by
14 the device, for whatever reason, was it was located in
15 the seam. This pit was located in the seam. This
16 corrosion pit, by the way, leaked. That is why we
17 performed this investigation.

18 Here are two more formal pictures. This is a
19 group and this is a group. Here there is a cluster of
20 pits. Here there is a single pit. You can see the
21 wall loss in the metallographic section for this
22 cluster of pits and this one here.

23 This is from the same pipe section. The
24 largest -- the maximum depth of a pit in this pipe
25 section was called out as 49 percent in the one I

1 showed you previously, but it's clear from these
2 metallographic sections that the wall loss on other
3 pits was as high as the previous one, maybe in the 80
4 to 85 percent. Had the previous one not failed, not
5 leaked, given time we believe these pits would have
6 leaked.

7 Here is another picture showing a ruptured
8 section in a pipe. As you all know, there are three
9 ways to calculate the interaction distance among pits.

10 The operator correctly used the relative distance
11 method shown by the red squares. Disregard the green
12 and the yellow squares.

13 Had the operator used the fixed distance
14 method or the 3T criteria, specifically the 3T criteria
15 -- I'm sorry, but the orange square does not show up
16 properly. It's a much larger square on the outside.

17 Had they used the 3T criteria, they may have
18 prevented this rupture by inquiring -- exposing the
19 pipe and looking at it.

20 As I mentioned of why we do investigations,
21 we collect data. Here is a table of 16 locations that
22 we looked at from -- on a pipe. This is the difference
23 in the location of the feature, the orientation of the
24 feature along the pipe wall, along the circumference of
25 the pipe, and the maximum depth of the feature. This

1 is just an arithmetical difference. So if the inline
2 inspection went and called it out as a 20 percent pit,
3 we actually found a 90 percent pit. Ninety minus 20
4 gives us a 70 percent difference.

5 You can see that quite a few of the call-outs
6 were undersized. For what reason we don't know yet.
7 There is a possibility that some of the sensors were
8 inoperative.

9 The distance from the upstream weld to the
10 feature appears to be within tolerance, but the
11 orientation, we see quite a bit of difference in some
12 cases. By positive I mean clockwise; the feature was
13 found farther clockwise. And negatively, it was found
14 anticlockwise.

15 Over here is some other dig that we
16 performed, and here this is just quality data I'm
17 showing on the depth, length, and width of corrosion
18 features and its orientation. You can see that the
19 data is equally distributed among -- between the out-
20 of-tolerance and within tolerance criteria.

21 This is the last picture, and here we have a
22 pipe section. There's a buckle in the pipe with a
23 crack. This is the image that we -- the inline
24 inspection -- we captured from the inline inspection
25 tool. This looks not unlike the first picture I showed

1 you about the T piece, but this was called out as a T
2 piece by the inline inspection vendor.

3 There are two issues here. One, the
4 operator, had they not called it out as a T piece, we
5 may have uncovered the pipe and investigated it. The
6 inline inspection vendor may say that this definition
7 is beyond the capability of the tool. So they'd want
8 it pigged out.

9 But I think both of you should get together
10 and ask, why did this happen? Why did you call it out
11 as a T piece when it -- when you may have known it
12 wasn't a T piece?

13 We have over time, in the past couple of
14 years, through the IMP inspection and other
15 investigations, found some good decision making, what
16 we call the activity train. This is very basic. I
17 believe some of your operators have much more elaborate
18 flow charts.

19 From the pipeline operator, it would be nice
20 to know -- the vendor would -- it would be nice for the
21 pipeline operator to communicate to the inline
22 inspection vendor the susceptibility of the pipe, how
23 old the pipe is, what type of seam it has, what is its
24 failure history, and of course the objectives of the
25 inspection, too.

1 From the inline inspection vendor, the
2 operator has several expectations. We expect the
3 inline inspection vendor to pick out the correct tool,
4 establish the performance specifications of the tool,
5 and make sure it meets the performance specifications
6 of the tools, segregate -- you know, signature is
7 something that I don't know about, like the one
8 previously I showed you.

9 We expect them to develop -- the inline
10 inspection vendor to develop a dig list, verify it
11 through the operator, and then develop a prioritized
12 dig list.

13 Together I think the operator and the vendor
14 need to look at other data that is collected by the
15 pipeline operator. This is what we call data
16 integration. It can be done independently by the
17 operator, but it may be wise for both -- to have both
18 the operator and the inline inspection vendor to look
19 at it.

20 What have we learned? Here are just a few
21 high points. We know the tools can't -- different
22 tools are meant for different types of flaws. One does
23 not substitute for the other.

24 A flaw can only be found after it has already
25 happened. We cannot expect a tool to find something

1 that may happen in the near future. A tool -- a
2 corrosion tool cannot find -- cannot assess corrosion
3 growth. That has to be -- you have to have two
4 successive tool runs or you may have to integrate with
5 CP data. And there are some features that an UT tool
6 or an MFL tool or a geometric tool cannot find.

7 We have also learned that if an anomaly does
8 not exist -- you cannot find an anomaly in a certain
9 spot that was called out by the tool and look for it.
10 The order meter could be wrong, the reading could be
11 wrong, and it is very important to find it because we
12 may be looking in the wrong place.

13 If the image signature appears strange,
14 inquire as to its disposition. And we all know that
15 patterns of echo loss are very important integrity
16 management tools.

17 I have tried to show that there does not
18 appear to be a problem with the physics of detection.
19 Inline inspection devices find a lot. The problem, if
20 there is one, resides in maybe the discrimination,
21 confirmation, and integration process.

22 I want to also point out at this time that
23 judgmental errors pale in comparison to the benefits of
24 inline inspection devices. It has made the pipeline
25 operator's job easier and, you know, we have --

1 incidents, accidents, leaks have gone down. In most
2 cases, the intent of the rule is being met.

3 On this note, I would like to welcome Mr.
4 Peter Lidiak.

5 (Applause)

6 Hazardous Liquid Pipelines: Industry Metrics and Impact
7 of Integrity Management on Pipeline Safety

8 Peter Lidiak

9 (PowerPoint presentation)

10 MR. LIDIAC: On my screen this is a white
11 background. I don't know why it's so yellow, but we'll
12 see how that goes.

13 My name is Peter Lidiak, and I'm API's new
14 pipeline director. I'm taking over for Marty Matheson,
15 who held this job for quite a long while and who many
16 of you knew. She has gone to a well-deserved
17 retirement. Last time I talked to her, she was sitting
18 on the top of a mountain in western Virginia sipping
19 wine, so, you know, it sounds pretty good to me.

20 I'm here today representing liquid pipeline
21 companies that are members of API and AOPL. API and
22 AOPL are proud to support and promote the cooperation
23 of this industry with the government and the public to
24 make liquid pipelines safer and more environmentally
25 friendly.

1 As many of you know, about four years ago the
2 pipeline industry and the Office of Pipeline Safety,
3 which is now known as PHMSA, or at least PHMSA,
4 embarked on a cooperative effort to improve pipeline
5 integrity management, adding to the industry's existing
6 efforts to keep the public and the environment safer.
7 Inline inspection tools have been an integral part of
8 that effort and are the subject of today's workshop, as
9 we all know.

10 I'm pleased to announce that the industry's
11 latest contribution to improving inline inspection and
12 integrity management, the API 1163 Inline Inspection
13 Qualification Standard, was released last Friday. Talk
14 about timing. This standard will move forward the use
15 of this important technology to ensure pipeline
16 integrity.

17 And, you know, I was struck by Stacey's
18 comment earlier. Yes, things the way they are right
19 now do need to improve, and I think this standard will
20 help us move things forward.

21 I'd like to put today's discussions in
22 context by sharing with you the results of our combined
23 efforts and to demonstrate that while there remains
24 room for improvement, great strides have been made in
25 reducing releases from accidents associated with

1 pipelines. Pipeline operators have already inspected
2 and certified over 50 percent of the high consequence
3 area miles.

4 Inline inspection, or ILI, technology has
5 made these inspections possible to a large degree. ILI
6 tools must be employed in a common sense manner.
7 Operators understand that the right tool must be
8 employed to inspect for appropriate conditions.

9 Some tools are good at detecting problems and
10 are in widespread use. Tools to detect corrosion, for
11 instance, are mature, and we're getting quite good at
12 identifying corrosion-related problems. But some tools
13 are developing. For example, tools for identifying
14 cracks are coming into more widespread use.
15 Nevertheless, the industry's record in reducing
16 incidents of all sorts is impressive.

17 ILI is not the only tool, however, that's
18 been employed to achieve these impressive results. The
19 industry began to improve its record even before the
20 implementation of the integrity management regulations,
21 beginning with the safety initiative that began in
22 1998.

23 The industry has been and will remain
24 actively engaged. The first step was the industry's
25 voluntary reporting system, the PPTS. The PPTS

1 captured more information and captured it eight times -
2 - for eight times more spills than the then-existing
3 OPS reporting system.

4 The lessons from that information resulted in
5 the improvements to the record that we have seen. Add
6 that to the later initiatives: operator training,
7 standardizing operating practices, visual inspections,
8 direct assessment, public outreach, and communication
9 leading to greater public awareness of where pipelines
10 exist, and safe practices around pipelines are all
11 needed to keep incidents low and/or heading in a
12 downward direction.

13 I'd like to share several slides with you
14 that demonstrate some of these points, and the first
15 one is up here already. As I said before, this
16 information sets a good context for today's
17 discussions. Other representatives from the liquid
18 pipeline industry, people that are certainly much more
19 knowledgeable than I am, will be discussing their
20 experiences with best practices for the use of ILI
21 tools later in the workshop.

22 One of the things you'll notice is that our
23 goals are the same as Secretary Mineta's stated goals.

24 These statements are really what our industry is
25 striving for. They're what we're about. They're

1 simple. They are heartfelt. Our leadership endorses
2 these statements. We view the public's trust to
3 operate our pipelines as a privilege and not a right,
4 and we do expect to be questioned, criticized,
5 investigated, and even enforced against when we don't
6 perform adequately.

7 Let me turn to some of the accomplishments
8 that have been achieved as a result of the long-term
9 focus of the pipeline industry on managing its assets
10 and the impacts of integrity -- of the integrity
11 requirements.

12 As an industry, we felt that it was very
13 important to know where we stood at the halfway point
14 of the baseline assessment period under the rule in
15 September 2004. We undertook a voluntary certification
16 to the Office of Pipeline Safety. We -- API and AOPL's
17 leadership asked our members to send OPS the following
18 information. We undertook a voluntary certification to
19 the Office -- excuse me.

20 Total miles of hazardous liquid pipelines was
21 what was being reported. Companies operating about 80
22 percent of the total line pipe miles were -- actually
23 participated in the certification.

24 Of those 130,000 miles that were actually
25 involved, about 60,000 miles are in or could affect

1 high consequence areas. Thus, about 46 percent of the
2 U.S. mileage is directly subject to the rule.

3 As of September 30th in 2004, we've completed
4 baseline assessments on 38,000 miles, which constitutes
5 about two-thirds of the total operating miles that are
6 in or could affect high consequence areas.

7 In addition to the assessments required under
8 that, we have also -- under the regulations, we have
9 also conducted assessments on 34,000 miles that are not
10 on high consequence areas or areas that could affect
11 high consequence areas. Thus, by the time September
12 came last year, we were at about 72,000 miles, or 55
13 percent, of the U.S. total that's been assessed either
14 directly or because of the rule and in addition to the
15 requirements of the rule.

16 Now, many of you have seen this slide before.

17 This is a picture of the industry's performance from
18 1999 through 2003. We're working on the 2004 data now,
19 and we have every expectation that the results will
20 continue in the same direction, and that is downward.

21 Each of these charts represents one major
22 cause category and each incident is five gallons or
23 more, yet the numbers are very small. All are one or
24 two digits. Given that the net mileage of line pipe is
25 160,000 miles across the country, we think that's

1 pretty phenomenal.

2 For those of you not into deciphering graphs,
3 we just thought we'd put it up in words. Here are the
4 words. Line pipe accidents are down in every category
5 of incident. Line pipe -- the pipe that's in the right
6 of way is where people are. This is the pipe that
7 transects our communities, and that's where the focus
8 should be.

9 IMP is a success story. I'm just going to
10 run all these up on the screen. Otherwise, I'll --
11 okay. There we go.

12 The number and quality of the assessments has
13 been great. The number of assessments exceeds the
14 requirements of the regulations. They contribute
15 significantly to the success story. The risk-based
16 approach to addressing threats to integrity is a
17 positive direction. Maximizing the access to utility
18 of and the value of information, finding conditions and
19 fixing them, and looking for emergency integrity issues
20 -- emerging integrity issues are all important parts of
21 what the success story has been.

22 Integrity management, though, is not just
23 inspection and testing. Integrity management is all-
24 encompassing, making maximum use of the information at
25 the disposal of the operator. Lots of good work is

1 going on in parallel with the implementation of the
2 integrity rules and the enforcement of the integrity
3 rules.

4 Operators have made broad commitments to
5 improving the public awareness and communications along
6 rights of way. We're in the early stages of assessing
7 the effectiveness of industry efforts -- industry
8 public outreach efforts. It appears that about 60
9 percent of those surveyed in our first pilot studies
10 know that pipeline runs near their property or through
11 their communities. We can and we will do better.
12 We're going to continue this work.

13 Operators have increased security awareness
14 for their employees and spend a great deal of time and
15 resources on physical upgrades, sensors, cameras,
16 control room access, access to all types of facilities,
17 and much more than that has even been applied to
18 pipelines that are part of port facilities.

19 We cannot let our guard down on seeking to
20 prevent the incursion by third parties onto our lines.

21 We are looking forward to a nationwide 811 to support
22 One Call.

23 We have made investments in our performance,
24 the Pipeline Performance Tracking System and the
25 analytic work it engenders. We are seeking how to take

1 even that a few steps further through our performance
2 excellence analyses, and we're trying to basically use
3 the data we've collected to figure out what the next
4 big step will be.

5 And we are learning how to listen to our
6 stakeholders and our critics. We don't know it all,
7 sometimes we don't even know what we don't know, but we
8 are listening.

9 Again, a little context. I just want to set
10 this context. ILI is not the only part of IMP, of
11 course. They are important, but they are not the only
12 part of the successful integrity management. We must
13 continue to address prevention, mitigation, and direct
14 assessment.

15 I just want to end back on this page again
16 because it tells a positive story of improvement.
17 Based on the efforts of the pipeline industry,
18 government, and others, we've been able to achieve
19 these results.

20 Thank you.

21 (Applause)

22 MR. KADNAR: Guess what? We are already
23 behind schedule, and I think you should keep your
24 questions for the experts, the pipeline operators and
25 the inline inspection vendors and the standards

1 developers.

2 So now I would like to invite the next panel
3 on the stage. They will be talking about their best
4 practices, and Mr. William Gute, the OPS eastern region
5 director, will moderate that panel.

6 Panel: Inline Inspection Practices and Data Management
7 Strategies

8 William H. Gute, Moderator

9 MR. GUTE: Good morning. My name is Bill
10 Gute. As Joy said, I'm the eastern regional director
11 of Office of Pipeline Safety, and I'm the moderator for
12 this panel, which is called Inline Inspection Practices
13 and Data Management Strategies.

14 I think we have a real good panel today. We
15 have a diverse panel. We have a liquid operator, we
16 have gas operators, and we have a consultant. I'm
17 going to introduce them and give them a little
18 background, and then I'll call them up to speak. Our
19 first -- and you can raise your hand, I think.

20 Dave Bowmaster is our first panel master --
21 panel master.

22 (Laughter)

23 MR. GUTE: That's a tricky name -- our first
24 panel member. He's from El Paso. He's going to talk
25 about ANR Pipeline Integrity Management Program.

1 He has been in the industry since 1978, and
2 he's been the director of their integrity program and
3 corrosion program and nondestructive testing program
4 for the last few years.

5 Our next panel member is John Godfrey, who is
6 now from Explorer Pipeline. Prior to working for
7 Explorer, he had, I think, about 18 years with Colonial
8 Pipeline, and he's had all sorts of experience with
9 Colonial, from tanks to pipeline integrity management.
10 So he's very good and very knowledgeable.

11 Next is Andy Drake from Duke Energy. Andy
12 has been with Duke for I don't know how many years, but
13 many years. And he's been involved with their
14 integrity management program since it started, and he's
15 been involved with many of the industry and government
16 programs that have helped our standards and our rule.

17 Finally, we have Eydstein Egholm, and he is
18 from -- well, it's DNV. I'll go with that.

19 (Laughter)

20 MR. GUTE: It's, I think, a company from
21 Denmark or Netherlands -- where? Norway? Norway, I'm
22 sorry.

23 And he -- most of his work has been in
24 Europe, but now he's based in Houston, and he'll be our
25 last speaker.

1 So, with that, I think they will cover a
2 couple things. They will cover how they meet the
3 requirements of the IMP rule, tool selection, discovery
4 of flaws, confirmation of signatures, quality control
5 and verification, data integration, and individual
6 company practices.

7 So, with that, I'm going to turn it over to
8 Dave Bowmaster.

9 (Applause)

10 ANR Pipeline: Inline Inspection Program History

11 Dave Bowmaster

12 (PowerPoint presentation)

13 MR. BOWMASTER: Hello. Let me get my blood
14 pressure in order here.

15 I think it's probably no stretch to say that
16 everyone -- all of the pipeline operators in this room
17 probably had some form of pipeline integrity management
18 program in place even prior to the passage of the
19 Pipeline Safety Act of 2002. In fact, I was a little
20 surprised and I was a little embarrassed when Joy asked
21 for a show of hands on the people here who are pipeline
22 safety advocates, that we should have all raised our
23 hands, including me. I think we're all advocates of
24 pipeline safety.

25 But those programs of all -- many of those

1 programs relied on different aspects of -- had focused
2 on different things. I know in the El Paso Pipeline
3 Company we had some programs that relied heavily on
4 internal inspection, other programs that relied heavily
5 on our corrosion protection programs, and some programs
6 that relied heavily on pipe replacement. Those have
7 all been combined now into one consolidated pipeline
8 integrity program.

9 What I've been asked to do today is talk
10 briefly about the ANR Pipeline Integrity Program, and
11 the primary reason for that is it's probably the most
12 mature of all of the internal inspection programs that
13 we have implemented at this time.

14 Let's see. Let me go to the next slide.

15 This is, you know, the obligatory map of the
16 El Paso Pipeline systems. These are all the facilities
17 that we have responsibilities for pipeline integrity
18 management. Some of them we have direct
19 responsibilities: Tennessee, CIG, ANR, El Paso, and
20 Southern Natural Gas Company. Others we're joint
21 venture -- we have joint venture interests with other
22 pipeline companies.

23 The pipeline system that I'm going to be
24 talking about today is the ANR pipeline system, which
25 gathers gas in both the mid-continent and Gulf Coast

1 areas of the United States, transports it to customers
2 in -- primarily in Michigan and Wisconsin, and has a
3 significant amount of storage activities in Michigan.

4 The ANR program -- the internal inspection
5 portion of the ANR integrity management program
6 formally began in 1984. This particular piece of the
7 program and what I'm focusing my attention on today is
8 that part of the program that was designed to address
9 metal loss as a threat to the pipeline system.

10 At the time the pipeline -- at the time this
11 program was put in place, it included all of the ANR
12 system -- all of the ANR onshore system for internal
13 inspection and pipelines greater -- 10-inch and greater
14 in diameter. It did not focus specifically on HCAs,
15 but instead they elected to inspect the -- all of the
16 system that they were able to inspect with the tools
17 that were available at the time.

18 The -- I was not at ANR at the time, but I
19 have spoken with some of the individuals who
20 participated in the formation and the development of
21 this program, and they spent a great deal of time
22 trying to determine what the best approach would be:
23 would they install permanent launchers and receivers so
24 that it would be easy to reinspect the pipeline at a
25 later date; would they go with temporary launchers and

1 receivers.

2 After a lot of discussion, they did decide
3 that the best approach for them to take was to install
4 permanent launchers and receivers and to develop
5 reinspection intervals based on the findings of the
6 inspections that they made.

7 As you might expect, a lot has changed since
8 1984, and so this program has evolved over the last 21
9 years to what it is today. And I bring that up -- you
10 know, the obvious -- one of the obvious changes is that
11 the tools have improved. We've gone from standard
12 resolution tools to our -- the tool of choice today is
13 high resolution tools.

14 But I went back and tried to spend a little
15 bit of time thinking about what 1984 was like when I
16 was putting this presentation together. Just to give
17 you a little bit of an idea of, you know, data
18 integration changes, I don't know about the rest of you
19 in this room but when I go home tonight I'm going to
20 have to turn on my computer, I'm going to have to do my
21 e-mail, I'm going to have to prepare for some other
22 presentation sometime.

23 In 1984, I bought my first PC. It was a
24 Commodore 64. I had to pay a long-distance telephone
25 bill. I lived in Midland, Texas. I had to pay a long-

1 distance telephone bill in order to be able to connect
2 to a telephone number in Lubbock so that I could get
3 online with Comuserve to have my first online
4 experience, which was the equivalent of a very slow,
5 over a 75 bod modem. So there have been a lot of
6 changes in what we're able to do with the data that
7 we're collecting today.

8 The methodology that ANR applied at the time
9 they put the program together, and it's much the same
10 today. They did use a risk prioritization index to
11 determine kind of the schedule of events, kind of the
12 schedule of inspections that they were going to make.

13 And then, after they made inspections, they
14 went over that information and established their own
15 reinspection intervals. They did integrate all of the
16 information that they had at the time, and as you can
17 well imagine, in 1984 a lot of this was done on paper
18 spreadsheets and from paper records, all of that which
19 now is in GIS programs and large databases.

20 But they looked at all of the, you know, leak
21 histories of the pipeline, what coating type the
22 pipelines had, what the construction practices were at
23 the time those pipelines were built, the CP records,
24 the class locations, and hydrostatic test history.
25 These are just a few of the things that they did

1 incorporate in their initial risk prioritizations.

2 We believe that the remediation actions that
3 have been taken on ANR Pipeline both historically and
4 today were reasonably conservative.

5 The reinspection intervals -- again, the
6 reinspection intervals were determined by the engineers
7 who were working on the program and reviewing the data
8 that was collected from the internal inspections, and
9 then they established reinspection intervals that they
10 felt were appropriate. Those reinspection intervals
11 were typically 12 to 14 years.

12 There were few pipelines -- and I'll show you
13 a little bit here in just a moment. There were a few
14 pipelines that they felt like they needed to accelerate
15 the reinspection intervals, and some of those were as
16 short as -- recommendations were as short as five to
17 six years. They also used that information to
18 determine whether or not there were any other actions
19 that they felt they should take.

20 The progress to date on the ANR Pipeline
21 system. We've -- oh, and I failed to mention we have
22 subsequently changed the -- from all pipelines 10-inch
23 and greater onshore to all pipelines six-inch and
24 greater onshore.

25 To date we've inspected about 93 percent of

1 all of those onshore pipelines that are onshore --
2 yeah, about 93 percent of it is piggable. We haven't
3 necessarily inspected all of the smaller diameter ones
4 yet.

5 We've inspected over 8100 miles -- that's 93
6 percent of the onshore six-inch and greater -- has been
7 inspected one time. We've inspected over 6400 miles of
8 pipeline on ANR's system more than once, and 2100 miles
9 of that system has been inspected more than twice.

10 We were looking at some of the data that have
11 been collected over the years to try to see if we could
12 show the continuous improvement that we think has
13 occurred on the pipeline system, and we looked at 169
14 different pipeline segments that had been inspected at
15 least once and in some cases as many as four times.
16 Eighty-one of the segments were inspected once, 72
17 twice, 23 three times, and three of those 169 sections
18 have been inspected four times since the beginning of
19 the program.

20 In each case, in each one of these groupings,
21 we have seen a reduction in the number of digs that
22 have been done post inspection from the number of digs
23 that were done in the first inspection. So we've seen
24 a continuous improvement in the health of the pipeline
25 system as we've progressed through the program.

1 The big punch line in all of this -- and I'm
2 just superstitious enough. I'm always nervous when I
3 talk about this last bullet. But the fact of the
4 matter is, since ANR began this program in 1984 they
5 have not had a corrosion-related leak from either --
6 caused by either internal or external corrosion on any
7 pipeline that they've inspected and remediated. We
8 feel like that's a clear indication that the program
9 works and that we're finding potential leaks before
10 they become leaks and that they're being corrected in a
11 timely manner.

12 The conclusions that we drew when we were
13 putting this presentation together is that internal
14 inspection for the purpose of finding and controlling
15 metal loss anomalies is an effective and proven
16 technology. Our feeling is that the vendors that we
17 use that supply data to us provide reports that are
18 clear and that they provide us good and useful
19 information.

20 We also believe that the reinspection
21 intervals that ANR put together based on sound
22 engineering judgment and knowledge of the -- of both
23 the pipeline history and the results of the inspections
24 was successful in dealing with the metal loss program
25 at ANR.

1 We do this in every financial meeting I go
2 to. While past performance is no guarantee of future
3 success --

4 (Laughter)

5 MR. BOWMASTER: -- a well managed internal
6 inspection program utilizing sound engineering
7 practices we believe has been successful in addressing
8 the internal and external corrosion threats on ANR's
9 pipeline system.

10 I think that's it. That's it.

11 (Applause)

12 Quality Assurance: Hazardous Liquid Pipeline

13 Perspective

14 John Godfrey

15 (PowerPoint presentation)

16 MR. GODFREY: Well, that's a fatal mistake,
17 allowing me to introduce myself. We just ran over time
18 again.

19 (Laughter)

20 MR. GODFREY: No, seriously, I'll keep it
21 down.

22 Good morning. As Bill mentioned, my name is
23 John Godfrey, with Explorer Pipeline. And what I want
24 to talk to you about today is liquid operator pipeline
25 experience and practices as it relates to internal line

1 inspection.

2 You'll note on the left-hand side of my
3 slides that we're repeating the graphs that Peter
4 showed you earlier. This is on purpose. We want to
5 emphasize that internal line inspection has contributed
6 greatly to the liquid pipeline industry record both in
7 the reduction in the number of leaks and incidents but
8 also, to address Mr. McCown's comments earlier, it's
9 helped to improve the reliability of the liquid
10 pipeline system.

11 Safety is good business. You cannot
12 transport refined petroleum products or crude oil
13 safely -- or, reliably without doing it safely. So we
14 want to make sure we make that connection, that safety
15 really is core to our business. It is important to the
16 liquid industry.

17 For the purpose of this presentation, I've
18 simplified the ILI inspection process down into five
19 steps. And these are my five steps, not to be confused
20 with anybody else's.

21 But first in our process is to identify the
22 risk factors or threats that the individual pipeline
23 segment to be inspected faces. The second is to target
24 the ILI technology, choose the right tool to fit those
25 risk factors.

1 Third step, from an operator's perspective --
2 and this is an operator's role -- is, how do we receive
3 and validate the ILI data. How do we make sure that
4 the ILI data matches our expectations and meets the
5 performance standards we set forth when we started the
6 inspection process.

7 Finally, how do we integrate the data we
8 receive from ILI. How do we combine it not just with
9 previous inspections and other current inspections from
10 a single tool or a suite of tools; how do we integrate
11 it with other available data to get a more complete
12 picture of the pipeline's integrity.

13 And final step is, provide performance
14 feedback to drive continuous improvement both
15 internally within our companies and externally with our
16 vendors and with other agencies.

17 Before I discuss the internal inspection
18 itself and the resulting data, we must understand the
19 risks that individual pipeline systems face. Prior to
20 any inspection, a pipeline operator should evaluate the
21 risks to their system. This information may come from
22 risk assessments, maintenance records, failure history,
23 or the knowledge and experience of the personnel at the
24 operating company.

25 Equally important to understand is the

1 industry experience. As pipeline operators, we are not
2 trying to be reactive. ILI is not a reactive process.

3 We need to understand what the potential threats are.

4 We need to anticipate what the threats are. We need
5 to learn from other operators' experiences through
6 forums such as this and through other information
7 that's publicly available to anticipate what the risks
8 are, in addition to just reacting to what we've already
9 seen.

10 Some of the most common threats that have
11 been addressed by liquid operators through the ILI
12 process include mechanical damage; third party damage
13 and construction-related or outside force damage;
14 deformations, buckles, dents, wrinkles; and also
15 included in this, earth movement, subsidence or seismic
16 activity that changes the orientation or the location
17 of pipelines; and finally, certain types of seam
18 integrity issues can be addressed through ILI.

19 In addition, and mentioned previously,
20 internal and external corrosion, and as an evolving
21 application, stress corrosion cracking and the ability
22 to see certain types of SCC and -- in certain
23 alignments has proven successful through the ILI
24 process.

25 There is other valuable information that can

1 also be obtained through ILI as well, and that's the
2 alignment of your pipeline, center line alignment, as
3 well as cataloging and documenting appurtenances, the
4 features on the pipeline. Particularly with a lot of
5 older systems and systems that may have changed hands
6 through mergers or acquisitions, this provides a
7 valuable tool to go back and update our construction
8 records and update and validate where we happen to have
9 branches, Ts, and other appurtenances on the line.

10 So now that an operator has gone ahead and
11 assessed the risks and the risk factors associated with
12 their segments, the operator needs to choose the best
13 platform to identify those risks and to conduct the
14 inspection. It's these risk factors that drive tool
15 selection, and one of the most important factors here
16 is a common understanding of tool performance.

17 And I'm happy to say that API 1163, which
18 Peter mentioned was published just last week, provides
19 operators guidance with how to choose the right tools
20 for a particular inspection. More importantly, it
21 provides some standardization around performance
22 reporting. For an operator to choose the right tool
23 for an inspection, we need to know how that tool is
24 going to perform. We need to be able to compare apples
25 to apples so that we know or can expect to get the most

1 reliable data for the risk factors that we face.

2 We also need to consider excavation criteria
3 and repair criteria. What is your corporate philosophy
4 around excavation and repairs. To what extent are you
5 going to remediate the pipeline above and beyond rule
6 requirements. That also has a factor in choosing the
7 right technology or the most appropriate technology for
8 your inspection program.

9 We also need to consider reinspection
10 intervals. Will this ILI run contribute to a body of
11 knowledge that will help justify an analytical
12 reinspection interval. Are you looking to measure the
13 growth of anomalies. Are you looking to identify or
14 validate your risk assessments. Are you using this
15 data to feed back into your overall integrity program
16 in a constructive way to assess when you need to go and
17 look at that segment again, and are you choosing the
18 right technology to support that. So these are all
19 just considerations in choosing the right tool before
20 you even put it in your launcher.

21 And finally, evaluate evolving technology.
22 ILI technology continues to grow. New tools are
23 available almost every year, and existing tools are
24 enhanced either through improved sensors, improved data
25 storage capacity, or through software that allows you

1 to view the tool data and to better interpret the tool
2 data. Evaluate that technology as you're assessing the
3 risks and what you plan on getting out of your
4 inspection.

5 And there's another consideration here that's
6 just as serious but isn't included on this slide.
7 Consider the operational impacts to your pipeline
8 system as you choose your tool selections. It's
9 important that we understand how tool -- required tool
10 run speed, first run success rate, the range of tool,
11 data acquisition, and/or specific product requirements
12 impact your operation. Again, it's to provide a
13 reliable supply to the marketplace and how does the ILI
14 itself impact your pipeline operation.

15 Once the ILI is complete -- and this isn't to
16 diminish the vendor's role in performing the inline
17 inspection or how the tools operate. I believe we'll
18 be hearing from a vendor panel later today to discuss
19 that. But again, the focus is on the operator side.

20 What should the operator consider when
21 receiving and validating ILI tool data. Well, we look
22 to the vendors to provide consistent data
23 interpretation and reporting. This is aided by the
24 ongoing ASNT effort to qualify vendor personnel and
25 personnel who review ILI logs and provide data output.

1 But it's important for the operator to get a good
2 understanding with the vendor on consistency of data to
3 ensure that we get accurate interpretations.

4 We also need to make sure that we accurately
5 integrate pipeline data. Alignment sheets, AGM
6 locations, other attributes and features that are known
7 prior to the inspection should be integrated during the
8 initial draft reports and prior to final reporting so
9 that we know where those features are and we can align
10 those with the data from the ILI.

11 And just as importantly, we need to work
12 together with the vendors to resolve all discrepancies
13 during this process. We need to be able to identify
14 and have an open chain of communication. Identify
15 where those variances exist. I see something here I
16 don't see on your alignment sheets; help me understand.

17 And we need to be able to work through them through
18 this process so that we can get an accurate
19 representation of what's out on the line.

20 From an operator's perspective during the
21 receipt and validation of tool data, we have a role in
22 that process as well. We need to go back and compare
23 it to any previous inspections that we may have done.
24 Is that repair sleeve in the ILI log? We repaired and
25 recoated this feature over here. Is it accurately

1 represented?

2 We also know -- we also need to go back and
3 look at specific call-outs. Is there something in the
4 initial data that doesn't look right. Nobody wants to
5 leave immediate repair conditions on the pipeline.
6 None of us want to be faced with a condition that's an
7 imminent threat and wait for something to happen later.
8 We want to know where that is and we want to be able
9 to respond to it as a prudent operator.

10 A lot of that comes into specific experience
11 and judgment. We cannot diminish the operator's role.

12 They are the best people to know the condition of
13 their systems. They know the operation of their
14 system. Your experience and your judgment should play
15 into the validation of the data. Take a critical look
16 at that data when it comes in. Does it match your
17 initial risk assessment, does it identify the specific
18 threats you were looking for, and is the tool
19 performing to the performance specifications you laid
20 out to address those threats.

21 Data integration. We do not have time to go
22 into more than one slide on data integration today.
23 This could take an entire day's forum to discuss the
24 various ways to integrate data from ILI and various
25 sources that can be brought in, but I did want to

1 mention a few specific things.

2 The data integration should focus on those
3 risks that were previously identified in your pre-
4 assessment. The list of potential data sources is
5 large, but some of the things that can be brought in
6 are corrosion data, either from annual surveys or
7 close-interval surveys; GIS data, land use, population,
8 foreign line crossings; additional right of way data,
9 density of One Calls, recent activity along the right
10 of way, aerial observation reports; and pipeline
11 attributes not previously included in the validation
12 process, but are there more features out on the
13 pipeline that you need to integrate that give you a
14 better understanding of the condition of the line.

15 Often it is the integration of ILI data that
16 provides us the most complete picture of line
17 condition. No single ILI run by itself gives you a
18 complete and total picture of the condition of your
19 system. It's an experienced operator working with a
20 qualified vendor that provides good, accurate data that
21 can be integrated across your full range of available
22 information that gives you your most complete picture
23 about the quality of your system and the threats that
24 you happen to be facing.

25 Regardless of the type of tool you run, the

1 number of tools that are run, or the vendors, an
2 operator's data integration process is key to really
3 understanding completely what the condition of the
4 pipeline segment is.

5 I'm getting close to the end now. One of the
6 last -- the last process step, or the fifth in my short
7 process, is performance feedback. Guidance, again, is
8 provided in 1163 on communicating back to your tool
9 vendors and tool vendors communicating with the
10 operators the actual results of the inspection.

11 It's important that we take this into account
12 as a continuous improvement loop. As Joy's slides
13 pointed out, we need to understand how well did the
14 inspection meet the requirements we initially set
15 forth; did we get the results that we were intending to
16 get.

17 This is both internal communication and
18 external. Our field crews need to communicate back to
19 our ILI department. What are we finding in the field.
20 We need to review and validate that information. We
21 need to make adjustments into our excavation schedules
22 as necessary to make sure that we capture all of those
23 conditions that we're after.

24 Finally, in conclusion, as the graph on the
25 left-hand side of the slide shows, current technology

1 has produced significant performance improvement for
2 the liquid industry. We have seen a decrease in the
3 trend in the number of incidents and severity of
4 incidents. We're seeing the pipeline systems becoming
5 more reliable. We're seeing better business as a
6 result of improved inspection techniques.

7 But technology enhancements will improve our
8 capabilities. We recognize that there are new and
9 evolving threats out on the pipeline system, and we
10 need to evaluate new technology as it comes to market
11 and we need to address those threats as we identify
12 them.

13 We also note that developing standards such
14 as 1163 help us improve the communication between
15 operators and tool vendors. It helps to improve the
16 standardization of tool performance reporting as well
17 as data reporting, and it provides performance feedback
18 both internally and externally to the vendors so that
19 we can continue to understand the strengths and
20 limitations of ILI and we can continue to apply ILI to
21 address the threats that are most significant to our
22 systems.

23 Thank you very much.

24 (Applause)

25 MR. GUTE: Our next speaker will be Andy

1 Drake from Duke Energy.

2

3 Quality Assurance of Inline Inspection Programs:

4 Natural Gas Pipeline Perspective

5 Andy Drake

6 (PowerPoint presentation)

7 MR. DRAKE: Good morning. It's good to see
8 so many people here. I think that's just an indication
9 of how much interest everybody's got in implementing
10 these programs and the impact on our business and the
11 regulatory involvement in this issue. I know that it's
12 certainly probably an indication of how many of you are
13 active in doing your programs, and I'm sure many of you
14 are finding that Roloids is now a food group in your
15 diet but -- as you try to get these programs instituted
16 and put into place and deal with your upper management
17 on costs and trying to make good choices.

18 As I think about the programs that I just
19 heard literally for the first time, it's amazing to me
20 to see how much common ground there is between these
21 three programs that were developed basically
22 independent of one another. I think that bodes well
23 for a process that we've been instituting in how we
24 roll out integrity programs fundamentally.

25 We came together as an industry and we went

1 through a rigorous process of trying to define best
2 practices and instituting that knowledge and technology
3 into standards that can be extrapolated into regulatory
4 guidance and in an effort to try to help us see what is
5 that elusive commodity of good judgment.

6 There we go.

7 The obligatory system map. That's the Duke
8 Energy Gas Transmission U.S. operations map. It's
9 comprised of several different systems of varying ages
10 and varying different terrains. Constitutes a little
11 less than 12,000 miles.

12 We have been active in inline inspection
13 since 1968 and have about 15,000-plus miles inspected
14 to date. Many of our pipelines have been inspected
15 two, sometimes three, sometimes four times. Virtually
16 all of our main line systems have been inspected, and
17 we've got a -- obviously, we've been drug through the
18 knot hole backwards on what you learn in going through
19 that much data.

20 I, like Dave, remember sitting in the back of
21 trucks reading logs on sheet tapes, trying to figure
22 out what logs are. Now we sit down with computers that
23 I don't even know how to turn on, sit next to
24 technicians that are reading colored things that I
25 don't even really understand, but they look like some

1 sort of indication of a hole or something, and a change
2 in oil thickness. But the technology has really,
3 really changed radically, and the value that we can
4 extrapolate that has changed radically, too.

5 We went through a rigorous program in the mid
6 '80s and into the early '90s where we literally
7 excavated thousands and thousands of anomalies and
8 remediated those sites and got quite a learning curve
9 on tools, tool availability, how to calibrate logs, how
10 to run tools, how to work with vendors and how not to
11 work with vendors.

12 In that time period and over the period that
13 I've been involved in it, we've run all kind of
14 different tools: I mean, caliper tools, geometry,
15 slope deformation. We've run high- and standard res,
16 MFL tools, hard spot tools. We've run the TFI IMAT
17 tools, elastic wave tools in gas trying to look for
18 cracks, all with varying degrees of success, all
19 looking for different things, all with an intent and
20 purpose of trying to make good choices about integrity.

21 And I think the interesting thing there is,
22 with all these tools of choice, I think we do have to
23 fall back to the standards that are in place to help us
24 guide -- what are we looking for? -- to help us guide
25 our tool choices as best we can.

1 There -- this isn't something we have to
2 start from scratch in. I think the ASME documents and
3 some of the new API and NACE documents help us in those
4 regards, and if we use those criteria, we will make
5 good choices. But I think fundamentally one of the
6 underpinnings of this is that we don't take a
7 minimalist approach and just look for metal loss.
8 These tools generate all kinds of signals, and I think
9 it behooves all of us to make the most out of those
10 signals that are being generated.

11 In our program, the ILI objective is to
12 foster well-educated decisions about integrity. I
13 think that sounds like a lofty, nice thought, but it
14 doesn't -- it really changes the course of our program,
15 or sets our tack, and that is, it's not about just
16 looking for metal loss. You see, it doesn't say that
17 up there anywhere. It says, help us make good choices
18 about integrity.

19 The tools are not a silver bullet. They
20 don't find everything you run into. It doesn't
21 magically heal the pipe and all of a sudden everything
22 is great again and we can just go on about our merry
23 way. We actually had to roll up our sleeves and really
24 make these things work for us.

25 The vendors are there to help us, and I think

1 fundamentally we need to synchronize with them. They
2 are an integral part of how this works. And inside the
3 minds of their technicians and their insights on their
4 tools, capabilities, limitations, tolerances, and the
5 insights of our folks' heads of operating issues and
6 events that have happened in the field and where are
7 foreign line crossings and where was so-and-so digging
8 a couple years ago, a subdivision that was built, if we
9 can integrate and synchronize all that information, we
10 can really extrapolate a lot of value.

11 I think that's the key. It isn't really just
12 about, "Show me where all my metal loss indications
13 are." That's interesting. That's just the very
14 minimalist of what it can accomplish.

15 I think we need, as the other speakers have
16 said, to use tools appropriate -- use the appropriate
17 tool given what you're looking for. Choose wisely, so
18 to speak, and use the tool appropriately. They're
19 great tools, and try to get as much information as you
20 can out of them.

21 I think the bottom line, and this is a
22 fundamental underpinning of the standards development
23 process, is that pinned the foundation for the
24 integrity rule itself. That is, try to be
25 comprehensive, systematic, and integrated in the things

1 that you do. Those things will serve you well as you
2 try to make choices on your programs.

3 Specifically, our program involves vendor
4 qualification programs. If these guys are going to be
5 integral to our success, we need to know who they are
6 and we need to know what they can do and that they have
7 good processes and that they're capable of executing
8 what the contract is going to obligate them to,
9 literally.

10 We have established procedures on what we
11 expect out of them in addition to the contract and try
12 to communicate very clearly to them what are our
13 expectations of them and what are our expectations of
14 us in reporting, time frames, accuracy, validation, all
15 those kind of things.

16 We also have pretty specific procedures on
17 how we calibrate the log, how we mark the line, where
18 we use AGMs to decide where we are accurately down the
19 pipe, how we calibrate inside the AGMs where the
20 findings are so that we don't just dismiss something as
21 an anomaly that we couldn't find.

22 We try to get a comprehensive find report, as
23 I said, to get as much information as we can out of
24 that. We're not just asking for metal loss
25 indications. We're actually asking for all indications

1 of possible defects, that they give us that and then we
2 try to decide. Things that they can't provide
3 disposition on, then our folks, our engineers, roll up
4 their sleeves and try to augment their insight to close
5 disposition.

6 How we verify and calibrate logs. Typically,
7 first-time runs we actually go out and excavate at
8 least one, if not more, anomalies. That will depend on
9 a communication with the vendor about tool speed, where
10 they were, how they felt on their tolerances throughout
11 the run, did we lose any channels, where were we, how
12 many can we tolerate.

13 On subsequent runs, fortunately or
14 unfortunately, we have typically had anomalies that
15 have been investigated and recoated and back-filled,
16 and we gauge off those anomalies. So we size off
17 those, and oftentimes we don't need to make as many, if
18 any, excavation validations.

19 The key really is looking back at data
20 integration, looking back at old ILI information,
21 operational data, vendor information, tool speed,
22 tolerances, trying to make good choices about what that
23 log and that extrapolation from that log is telling us.

24 Try to get as much feedback as we can from
25 our vendors, and we try to give them feedback to them.

1 It really is a partnership, and it's a performance-
2 based partnership. We're trying to work together to
3 accomplish a goal, and we work well together as a team.

4 And that team needs to synchronize and communicate
5 with each other as well as they possibly can.

6 It's not just a contract: here, do this,
7 send me a report when you're done, see you later, I'll
8 bid to you next year. It doesn't work like that. At
9 least it doesn't work very efficiently.

10 At the end of each year, we sit down --
11 actually, at the end of each run we sit down with them
12 and gauge what they predicted based on what we find
13 when we go out and excavate, and then they take that
14 back in and use it to recalibrate their projections.
15 So they're continually sharpening their algorithms, and
16 that's worked very well over many years.

17 And obviously, we've been involved in pigging
18 for 30-plus years. We've seen the technology change a
19 lot. We've been pushing that. These guys down this
20 table have been pushing that. Many of you have been
21 pushing it. I know the vendors have been pushing it.
22 And it has been changing and much, much, much to our
23 value.

24 I think we've talked a lot about standards,
25 and this -- maybe the use of these standards can help

1 quell some of your need for the food group of Rolaid's.

2 But good judgment is a pretty elusive but much
3 required commodity in this transaction. It's very
4 subjective. We're trying to provide some clarity, and
5 that's certainly why we're here today. We're just
6 trying to find out, what are people doing that seems to
7 be working for them. And then, how does everybody else
8 take that home to do something with it that's
9 actionable and consistent.

10 And I think, like I said, with the
11 development of the integrity rule, the industry worked
12 together with the vendors, the technical communities,
13 the research community, the regulatory community, to
14 extrapolate technology and science and practices into
15 some kind of clear, executable in the form of a
16 standard, and those standards have now started to pour
17 out. Certainly, ASME B31.8S is one. There are many
18 API documents. There are NACE documents on DA, yada
19 yada yada.

20 Well, recently, the industry just released
21 three new standards, literally just within the last
22 couple weeks. These all relate to inline inspection.
23 They are an amalgamation of discussions about practices
24 and protocols, how to execute this kind of work. I
25 think it behooves all of us to get fluent in these

1 standards because they define what is good judgment on
2 how to execute this kind of work, just like the S
3 document did on integrity management.

4 I think there will be others that talk more
5 in detail about these three standards, but I really
6 think it just behooves us all to become fluent in them
7 because this is going to be the benchmark of judgment.

8 My conclusions. I think to maximize the
9 value of the ILI efforts, industry, including OPS and
10 the vendors, has committed to these standards
11 development processes. That's been very healthy, a
12 very healthy exchange on all of our parts, to
13 understand what is practicable, what is real, what is
14 technical, what can tools do/not do, what causes these
15 problems and how do we work on them. If we come to
16 that common understanding, then solving this problem
17 won't take nearly so many Roloids.

18 I think national consensus standards on the
19 ILI stuff are now just being released. But the
20 industry as operators can only push that so far. I
21 think the regulatory community has to, as they have in
22 the past, help foster the dissemination of those
23 standards to help communicate judgment, practicability.

24 And I think that maybe that can be done through some
25 kind of advisory bulletin to help disseminate it to the

1 many operators.

2 The guys and gals that are here, we're the
3 diligent ones. You're trying. We're all trying to
4 find out what good judgment looks like, what is good
5 practice. There are 700-and-some-odd interstate
6 operators in the United States. There aren't 700
7 people here. I know there's three or four from some
8 big companies right here altogether, so that probably
9 means there's only a handful of operations here,
10 really.

11 It's the ones who aren't in this room that
12 cause a lot of the angst, and I think we have to figure
13 out how to talk to that group. And I think we've got
14 to really lean on the regulators to help us communicate
15 with that group because I don't even know their phone
16 numbers or addresses. They don't show up to the
17 industry meetings.

18 Continue improvements of process. I think
19 that we fundamentally have embraced this. These
20 standards don't solve everything. They're a good
21 starting point. There are some things left to do,
22 sure, yeah, always are. It's a process, a systematic
23 process of working off the biggest things, come back
24 around and see what's not working, work on the next
25 biggest thing. You're just taking performance

1 evaluation and feeding it back in, and you keep turning
2 the crank.

3 There are some expectations on good judgment.

4 I'm certain there will be some issues and gaps
5 clarified in these standards. There will also be some
6 gaps identified in these things, and I think the key is
7 that we just kind of work together to define how do we
8 improve them and work together to close those gaps and
9 mitigate any subjectivity on what good judgment looks
10 like.

11 That's my presentation. Thank you.

12 (Applause)

13 MR. GUTE: Thank you.

14 And our next speaker will be Eydstein Egholm.

15 That's DNV. We don't have to pronounce it, so. And
16 that's how they actually do their business.

17 So he's getting set up, so while he's doing
18 that, I think we're going to have time for questions
19 after our panel. So maybe in 10 or 15 minutes, so
20 start thinking.

21 ILI Results and Best Practices

22 Eydstein Egholm

23 (PowerPoint presentation)

24 MR. EGHOLM: Well, thank you. As he said,
25 Eydstein Egholm with Det Norske Veritas, called DNV,

1 yes, for easy reference. Thank you for the opportunity
2 for us to present to you as well. We're not going to
3 talk very much in detail about standards.

4 The focus here is on how to improve the use
5 of ILI and get the most out of the good information
6 that's collected in a pig run. I think you need a
7 short introduction to DNV and what DNV does with ILI
8 results. We are not a pigging operator or a pipeline
9 operator or an ILI vendor. And then I'll talk a little
10 bit about the concerns and challenges that we have
11 notified -- noticed with the work that we have done on
12 looking at ILI results and some of the best practices
13 and suggestions of those that we can see.

14 I just want to point out that the majority
15 of, you know, what this presentation is based on comes
16 out of other places instead of the U.S. It's mainly
17 Europe, Middle East, and South America. DNV does about
18 30 pipeline assessments per year.

19 It's a worldwide company. Our headquarters
20 is based out of Oslo, Norway. We have offices around -
21 - about 300 offices around the world in 100 countries
22 and a total of about 6400 employees. We have four main
23 business areas. Just briefly, those are certification,
24 consulting, and technology services. Underneath the
25 technology services part, we have a group, a small

1 group, of pipeline experts that focus on design of
2 pipelines and -- operation.

3 Our main focus until recently has been
4 offshore pipelines; however, the focus has increased
5 towards the onshore pipelines and particularly for the
6 operational phase, which is in line with what the topic
7 of today is.

8 We do author standards and recommend good
9 practices and published several standards around the
10 world which have been acknowledged by regulatory
11 authorities. Typically, we develop these standards in
12 cooperation with the international industry and use
13 joint industry projects and research projects as the
14 basis for developing knowledge and/or getting consensus
15 around pertinent methodologies and technology and
16 issues with these standards and practices for use in
17 the industry.

18 We have membership of many international
19 organizations, API and ASME and so forth. We find that
20 several of our standards are actually used quite a lot
21 around the world.

22 Now, what we use in ILI is the results for,
23 as I guess most people use it for, is assuring the
24 fitness for service and pressure-carrying capacity for
25 pipelines as part of pipeline security control. We

1 consider the ILI as one source of many information
2 sources to control the condition of pipelines.

3 Now, the work that we do in looking through
4 those results is typically in relation to the
5 operators' work on the contract with operators. We
6 review their ILI reports for correctness and data
7 information correctness, consider the ILI results in
8 relation to other kind of information elaborated in the
9 presentations before: encroachment monitoring models
10 and information, predictions, findings on that, as well
11 as the process parameters and products, quality
12 control, plus inline inspections that were done in the
13 past, digs and any inspections that were done to verify
14 the information.

15 We also evaluate the traceability of the
16 anomalies that are found, location of defects, try to
17 measure -- build the confidence in the measurements,
18 take account of the measurements of error and
19 classification of defects, assess defects according to
20 our own recommended practice -- we'll go back to that
21 in a second -- and look at the interacting and
22 complexly shaped defects. It helps also to determine
23 repair and remediation strategies that the operator
24 chooses to follow. It depends on what tolerance they
25 have towards risk and others, what kind of regulatory

1 requirements they have to meet.

2 Look into the assessment intervals or
3 inspection intervals, and they use very much a risk-
4 based approach on that, and help assess the overall
5 pipeline condition.

6 Just briefly, on the defect assessment, we
7 use the Recommended Practice F11, Corroded Pipeline --
8 for Corroded Pipelines that was published in '99
9 initially, revised and updated in 2004 with the help of
10 several companies, regulators, and ILI vendors.

11 Now, this code was actually developed to take
12 account for measurement uncertainties that you
13 inherently will have with the ILI tools, and take
14 account of the benefits that you get if you have more
15 accurate information. In the fact if you have more
16 accurate sizing of your defects, you can tolerate a
17 relatively higher pressure -- operating pressure.

18 We see this standard very much as an extent
19 to the existing codes that are out there: ASME, Shell,
20 and -- and the standard here was developed as a joint
21 industry effort with contributions from operators,
22 owner-operators, and vendors and regulators, as I
23 mentioned.

24 We have a tool that we developed as part of
25 that to capture -- we realized there's a lot of

1 information, a lot of data to keep track on over time,
2 and this tool is to capture and assess and manage
3 inspection data.

4 The comments that we see in relation to ILI
5 results -- I mean, there's a tremendous development
6 that happened over the last many years, and the
7 operators have emphasized that. I mean, more
8 technologies have become available. It's now become a
9 very trusted set of -- trusted way of doing inspection.
10 So we see it as a very important source of information
11 for the condition integrity control of both onshore and
12 offshore pipelines.

13 The ILI results or data that's collected on
14 offshore and onshore pipeline is very similar. There's
15 very little difference in that.

16 We see also that the tools are very good,
17 which is pointed out several times here. But the
18 interpretation of the results may be less consistent or
19 reliable. It is an indirect method, so it requires
20 analysis interpretation -- realize that -- which again
21 requires expertise for the personnel that interpret the
22 data. The turnaround time that we normally see is a
23 minimum of six to eight weeks, but mostly it's more
24 than three months.

25 The main concerns that we want to point out

1 for ILI results were the reports -- well, I'll split it
2 in several categories. One is the report -- the
3 quality of the reports. We find very many, or several
4 inconsistencies and erroneous information reports
5 incompatible with the existing ILI data which is given,
6 past inspection reference points, et cetera.

7 There are issues with the calibration, travel
8 speed that's used, the temperature, the operating
9 temperature versus the temperature used with
10 calibration, piping condition. I've touched upon that
11 before. It kind of builds the confidence in the
12 results that you get for the ILI vendor to have good
13 conditions to run the pig under. Calibration towards
14 the pipe dimensions, and sometimes we find
15 inconsistencies between the operator specifications and
16 what was actually done during the pig run.

17 Another concern that we have is the overall
18 confidence in the ILI results. You see the validation
19 data that shows inconsistent sizing and the anomalies.

20 Erroneous indications, which are numerous I can say.
21 Erroneous characterization of the anomalies, which Joy
22 Kadnar mentioned very early on today.

23 Inconsistent results for the same pipe. We
24 have reruns. We find one thing during one run and it
25 appears slightly different for the second run.

1 And defect location, lack of traceability.
2 It seems that the -- point system which sometimes is
3 used by the ILI vendor is slightly different than
4 what's used by the operator. A little bit of
5 miscommunication there. Nevertheless, it turns out to
6 be a problem.

7 So, overall, what we want to advocate is that
8 you need to have a higher confidence in the
9 uninvestigated anomalies that are left behind, that are
10 not checked out further in detail.

11 The challenges in the -- or, what we see
12 anyway, is to improving the -- in order to improve the
13 results, you need to improve the inspection and
14 interpretation of the ILI signals and improve the
15 confidence in the results that are communicated to the
16 user or the operator, as well as for the -- on the user
17 side, I guess once the ILI vendor hands over the
18 reports or the results, the work starts for the
19 operator to assess the results and implement them, or
20 follow the -- or derive the recommendation out of the
21 results.

22 So you need, in our minds, an effective
23 validation of the data you receive, integration of
24 supplementary information, which was talked about
25 earlier, also, and corrosion monitoring activities and

1 so forth.

2 You need effective data assessment and
3 integrity control. So, in our minds, you definitely
4 need to incorporate the measurement or error which the
5 tools have. It's a challenge to make the right
6 informed -- and informed decisions about integrity
7 management.

8 Now, the suggestions we put on the top of the
9 list for best practice relate to integration of prior
10 knowledge, and I think that seems to be the ongoing
11 theme through the presentations here. We need to start
12 out -- in our minds, the operate -- the ILI inspection
13 vendor needs to start out with a clear understanding of
14 the inspection objective, using the past information,
15 validated data and so forth, and results to define the
16 deliverable for the inspection they are about to line
17 up for. It's good instructions.

18 In order to prove the generation of ILI data
19 and present them as results and reports, communication
20 -- communicate valid findings to vendors as it relates
21 to the performance feedback. That was mentioned
22 earlier. Now I assume it's in API 1160. I'm not
23 familiar with that in detail.

24 And, should require the ILI vendor to explain
25 how the inconsistency will affect the confidence in the

1 overall results in the report. After all, the ILI
2 vendor will have intimate knowledge to the ILI data
3 which he's collecting, under which conditions they were
4 collected, and so forth.

5 Best practice in relation to condition and
6 monitoring activities. I want to reiterate, you
7 integrate information. Again, the operating parameters
8 and general pipeline data. Monitoring activities and
9 efforts that were initiated in the past. Past and
10 present ILI results across ILI vendors, not keep the
11 results only with one vendor. It needs to reside with
12 the operator.

13 Suggest a more open dialogue between the ILI
14 team and the user of the results. Find that very
15 important. Discuss special anomalies, so special
16 findings, as was mentioned before, whether you call an
17 indication a T or a hole because of corrosion.

18 Potential erroneous readings, elaborate on
19 that. Investigate, you know, what could the reason for
20 -- find an explanation, basically. Sizing accuracies,
21 et cetera.

22 We need to recognize -- everybody, I guess,
23 needs to recognize that ILI includes a level of
24 uncertainties. Nothing is absolute. As mentioned
25 before, it's an indirect method and highly depends on

1 the expertise that resides with the ILI team and the
2 tools they use to interpret the data.

3 Investigate critical anomalies, we suggest
4 that, and sample non-critical anomalies out to optimize
5 the confidence in the cases that are not investigated
6 or left out, basically.

7 Last here, in relation to the reassessment
8 intervals, we would suggest to use an engineering
9 criticality assessment and probabilistic methods which
10 are widely used for other purposes in industry to
11 optimize assessment intervals. Of course, this may
12 require some independent validation, preferably by a
13 third party to the operation. And qualify
14 recommendation intervals -- or, recommended intervals
15 by using a risk assessment, so they have a risk-based
16 approach for how to determine your next inspection
17 period, so.

18 That was it.

19 (Applause)

20 Question-and-Answer Session

21 MR. GUTE: Well, that's all our panel
22 members. Do we have any questions out in the audience?

23 (No response)

24 MR. GUTE: I don't see anybody rushing to the
25 microphone here.

1 That's fine. I might have -- are these
2 microphones now turned on on the table here? Okay.

3 One of the questions that I might ask the
4 panel members to ask is, under what circumstances would
5 you determine that the pig run would be invalid? What
6 kind of criteria do you kind of use to make that
7 judgment? If I could -- John, you may want to start
8 with that, and go right down the panel.

9 MR. GODFREY: Well, if I start, I get to
10 choose the easy one, right?

11 MR. GUTE: Sure.

12 MR. GODFREY: So things like loss of sensors,
13 damage to the tool, running beyond its operational
14 window in terms of data capacity, speed, or temperature
15 or other factors, those would be easy.

16 Andy, do you want the tough ones?

17 MR. DRAKE: Thanks, John.

18 I think there are a lot of nuances inside the
19 envelope. You know, if any of those are encroached
20 upon, I think the run should be invalidated, and it can
21 include whether the pig was rotated or not. You know,
22 oftentimes we get in a place where the pig gets in a
23 bind and it can't rotate, you know, back and forth and
24 some contact can invalidate a log.

25 And I certainly agree with all the issues

1 about speed and sensors and all those kind of things --
2 damage to the pig, those kind of things.

3 MR. BOWMASTER: I really don't have a lot to
4 add to those. Andy mentioned the orientation. That's
5 one of the criteria we used. You know, I think that a
6 lot of it is looking at the data based on the
7 information you already know about the pipeline, too.
8 And if you see any obvious discrepancies, that would
9 certainly be an indicator that you had a problem.

10 MR. EGHOLM: DNV really only looks at the
11 reported results. Obviously, when we go through the
12 report and the data which was reported, we're trying to
13 build confidence in the ILI results, and we make
14 recommendations based on that confidence level to the
15 operator. Sometimes they can end up, you know,
16 disqualifying the run because the confidence is
17 basically too low.

18 MR. GUTE: Okay. So, now, I think there are
19 some obvious ones, but I think what I did hear a little
20 bit was that it is important to actually go out there
21 and dig up some anomalies and see how they're measuring
22 up on the predictions. And if they're not really
23 measuring up, that is a criteria.

24 It gets back into the communication back with
25 -- between the operators and the vendors, also. I

1 mean, that's something that we've seen, and we think
2 it's very, very important. I believe the standard,
3 1163, which we'll talk about later, talks about that.

4 The other -- nobody up for questions yet?

5 The other question I might have is, you know,
6 we have -- I think Andy mentioned that we have a very
7 diverse size of operators. I mean, we have -- we use
8 the term maybe improperly -- the mom-and-pop guys.
9 They may only have like 10 miles of pipeline. And then
10 we have 12,000, 20,000 miles of operator.

11 And I kind of wonder, I mean, the large
12 corporations, they have -- usually have the expertise
13 to help take a look at the logs and make some
14 judgments. But I'd like to sort of hear, maybe, from
15 the panel members on any recommendations they might
16 have for the smaller guys out there on how to evaluate,
17 select, and maybe that kind of feedback.

18 MR. DRAKE: Certainly there are --
19 engineering service companies out there. I mean, there
20 are engineering service companies that come in and look
21 at an operator's, you know, operating background, you
22 know, certainly the lay of the pipe, the operating
23 characteristics of the pipe, and how they interface
24 with the vendor as a surrogate. They communicate the
25 operating side of the picture to the vendor to help the

1 vendor interlock with the operating attributes of the
2 pipeline better.

3 It doesn't have to necessarily be the
4 operator themselves. There are many excellent
5 engineering firms out there with knowledge of that.

6 MR. GODFREY: I think another thing to
7 consider with small operators is participation in
8 forums such as this and other industry forums. This is
9 a good way to gain information from other operators,
10 from tool vendors, from engineering services companies
11 to identify areas where you may improve your own
12 processes and to network with people and identify
13 resources to help people with those issues.

14 MR. GUTE: Any other comment? We do have a
15 few individuals. Please state your name and your
16 company.

17 AUDIENCE MEMBER: My name is (Name) from
18 (Name). My question is, more than one speaker talked
19 about choosing the right tool to get some reliable
20 result. I think we need some more information about
21 what we mean by choosing the right tool.

22 MR. GUTE: Okay. Who wants to try to answer
23 that one?

24 MR. GODFREY: I guess I'll start. I'll start
25 with the area of deformations because that has an

1 impact on the large liquid lines, large -- liquid lines
2 which I'm most familiar with.

3 If one of your largest threats are damaged
4 buckles and other sorts of deformations, you need to
5 look for a deformation tool that has a number of
6 channels, the accuracy to be able to report across a
7 wide range of geometries. You want a tool that can
8 operate within the speed envelope of your pipeline
9 system, your predicted flow rates, and also one that
10 will operate well with your products to get transport
11 that has the necessary wear capability and endurance to
12 work through a system. A gas -- natural gas.

13 So when you're looking at -- if you're
14 looking at a large line -- T ratio and you're really
15 looking at complex geometry or deformations, you want
16 to go out and you want to find a tool that can
17 interpret all those things and give you enough data
18 back that you can make informed judgments.

19 AUDIENCE MEMBER: So that's most likely the
20 vendor's responsibility, other than the operator or the
21 owner of the pipeline?

22 MR. GODFREY: No, I think the operator or
23 owner needs to know what they expect to get out of the
24 assessment. Are you susceptible to denting; do you
25 want to know as much as you can about the dents. I

1 mean, you have to build that into your specification.

2 And when you review the quotes that you
3 receive back from your tool vendors, you need to be
4 able to look into their standards performance, their
5 performance specifications, and verify that it does
6 meet your specifications.

7 It's always buyer beware. The operator
8 always has to make sure that what the services they are
9 procuring -- because we are buying data. That's what
10 we do in this process -- is make sure that the data we
11 buy meets our original intent.

12 AUDIENCE MEMBER: Okay.

13 MR. GUTE: We have another question.

14 AUDIENCE MEMBER: Pat (Name) with CC
15 Technologies. First of all, I'd like to start off by
16 saying that everybody in this room is willing to do
17 everything that they can to avoid the next failure.
18 There's no doubt about that.

19 The second thing is, is that we've seen a
20 long progression of the use of inline inspection tools
21 over the last 30 years, the use of deformation tools to
22 find dents, MFL and ultrasonic tools to find corrosion-
23 caused metal loss, and we've learned a lot from that
24 and significantly reduced failures associated with
25 those integrity threats.

1 We're now moving into a stage where we're
2 extending the use of these available technologies to
3 find other types of defects -- for example, the wrinkle
4 that was shown up there earlier -- potential for
5 finding existing mechanical damage.

6 We're now moving into the next stage, where
7 we're getting new technologies. That is, the
8 ultrasonic crack detection tools, EMAT, et cetera.

9 My question is, is the development or the
10 evolution of the regulations and the current legal
11 environment, does it suppress the development and use
12 of any of these technologies?

13 MR. GUTE: Go ahead.

14 (Laughter)

15 AUDIENCE MEMBER: You know, I'm not sure if
16 that's even a question that can be answered in five
17 minutes, but I think as we go through the next couple
18 of days discussing this that being involved in a number
19 of programs with operators, we're dealing with
20 information where we don't always have the tools to
21 support that.

22 For example, with corrosion tools, we have
23 the evolution or development of B31.G and other
24 corrosion assessment tools. What criteria do we have
25 whether or not a wrinkle or wrinkles may be acceptable

1 in a pipeline, whether or not corrosion of -- is an
2 issue. There are a lot of issues like that.

3 My only comment would be that I hope the
4 regulations don't suppress the development of these
5 technologies.

6 MR. GUTE: Well, I can comment. That
7 certainly would not be our goal. I mean, we want the
8 technology to develop. We are big believers in
9 technology, and in fact, we have quite a bit of
10 research money which we are jointly working with
11 industry on some technology to improve pigging
12 technology.

13 So that's not our goal, and hopefully we're
14 not doing that.

15 AUDIENCE MEMBER: I agree, but I think
16 there's -- I certainly support that OPS has certainly
17 provided a lot of funding to further address these
18 issues, but I think that there's more immediate
19 concerns than there are long-term concerns. That is,
20 we've had 30 years of development on metal loss tools.
21 We have certainly learned a lot from that, and my
22 point is, it's still going to take a little bit of time
23 to start being able to fully utilize the new
24 technologies.

25 MR. GUTE: I think we recognize that.

1 Any other questions? Let's start with the
2 gentleman back here first.

3 AUDIENCE MEMBER: Charles Steadham (ph) with
4 (Name). I had a question about -- is there a standard
5 for pre-run cleaning of pipelines prior to ILI
6 inspections? Have you thought of that? There has been
7 debris when the MFL tool runs in our pipeline, and we
8 want to know basically if you guys have criteria that
9 you utilize before you launch your tools.

10 MR. DRAKE: We've got some books that are
11 very tuned in on the standards themselves, but I know
12 that -- many of the vendors we deal with have a pre-
13 cleaning requirement for us prior to even sticking
14 their tools in the pipe. They're even obligated to run
15 dummy tools in front of their tools to make sure that
16 they can pass.

17 But I know that inside the standard it does
18 identify an issue that you have to have the pipe
19 passable and clean to accommodate the pig. Now, what
20 does that judgment mean I think is going to be a
21 discussion between the vendor with regard to what they
22 can accommodate.

23 MR. GUTE: Yes, sir.

24 AUDIENCE MEMBER: I'd like to ask a question
25 of the panel. I'll excuse DNV because I already know

1 that you take into consideration tool tolerance. But
2 in your IM programs, do you take into consideration the
3 tool tolerance in developing your dig program or do you
4 take into consideration corrosion growth?

5 MR. BOWMASTER: What was the second part?

6 AUDIENCE MEMBER: The tool tolerance or
7 corrosion growth.

8 MR. BOWMASTER: I'm not sure that I really
9 know the answer to the tool tolerance question
10 specifically. We -- as you heard the other panelists
11 mention, we do everything we can do to validate the
12 data that we receive back from the tool vendor by doing
13 validation digs and comparing what we actually find to
14 what was reported by the vendor. So I'm not sure if
15 that answers your question.

16 MR. DRAKE: We actually -- in the
17 verification dig, we use that to calibrate the duration
18 of the log, and then we, in addition to that, consider
19 a certain envelope of the tolerance, not 100 percent
20 because it's sort of -- curve on their tolerance. We
21 work with them to define where are we on the 90th
22 percentile and then work in that range to consider the
23 tolerance of the tool, and finally, make sure we're
24 conservative. And we do consider corrosion in setting
25 the excavation schedule.

1 MR. GODFREY: The short answer is yes.

2 MR. DRAKE: There you go.

3 MR. GODFREY: The longer answer is, we do
4 consider tool tolerances in three different ways.
5 First off is in the specification, of course, for the
6 tool itself, to make sure that the tolerances that the
7 vendor provides in their performance spec meet our
8 expectations for the run.

9 The second is in our excavation criteria and
10 dig list criteria. What are you going to excavate in
11 the field, taking into account the tool tolerances
12 there for broadening your range of excavations to make
13 sure you capture everything within the envelope.

14 The third is really in the performance
15 feedback period, the post assessment, or integrity
16 assessment as we call it, where we go back and develop
17 unity curves and plot field excavation results versus
18 the call-out from the ILI vendor to make sure that the
19 tool performed within its range or to adjust the dig
20 list and go back and make sure you've captured what
21 you're after.

22 And again, a lot of that information is very
23 useful in going into your post assessment because it
24 helps develop things such as corrosion growth rates,
25 where you can substantiate it and roll it into your

1 overall integrity management program, as I mentioned,
2 to consider your reassessment interval as part of this
3 process.

4 MR. GUTE: I think we have time for one more
5 question. Then we're going to have to go on break, so.

6 AUDIENCE MEMBER: Two questions. I'm sorry.
7 (Name) with (Name) Quality Services.

8 The first question is, there was a little bit
9 of discussion about invalid runs. Just for curiosity,
10 what's the ratio of valid to invalid runs which --

11 (Laughter)

12 AUDIENCE MEMBER: And the second question
13 that sort of relates to this is, I'm sure, you know,
14 there are many factors that can invalidate a run. How
15 many of those are actually related to the data
16 validation in terms of when you verify using the field
17 data, and second, how do you consider the
18 inconsistencies that might exist within the field data
19 itself in that process? So, if you could please throw
20 a little light on that?

21 MR. BOWMASTER: I don't know what the
22 statistics are on the actual success rate on runs. I
23 know it's a topic of discussion almost every time we
24 meet with a vendor or any of our operating people or,
25 for that matter, any of our commercial people

1 concerning why we have to adjust the flow schedule on
2 our pipeline system. I will say this. It feels to me
3 that it's been pretty good and that it's proven.

4 What were the rest of the pieces of the
5 question?

6 MR. GODFREY: I think another one of the
7 questions, the two other parts, were around data
8 validation and qualification, and the second one was
9 considering inconsistencies in field data collection.
10 And I'll touch on the inconsistencies in field data
11 collection briefly.

12 Yes, it is important. It is important that
13 an operator has processes, procedures, and practices in
14 place for the collection of field data because garbage
15 in is garbage out. You can't do an analysis of the
16 quality of your ILI run if your field data is suspect.

17 Obviously, measuring the depth of the
18 corrosion pit is one thing. Trying to assess the depth
19 of a crack is another. So it is important that
20 operators take that into consideration and that you do
21 a thorough job of evaluating your field collection
22 techniques, digging and collecting from the field, make
23 sure you have qualified people there to do it so that
24 you are getting a very good comparison. That needs to
25 be part of an IM program.

1 MR. GUTE: Well, I think we -- Joy is coming
2 here, and we're a little bit over the time limit. And
3 we will have questions at the end of the day, so save
4 those up, and the panel members will be around to
5 answer them.

6 I want to thank the panel members very, very
7 much for participating.

8 (Applause)

9 MR. KADNAR: I've got an announcement please.
10 If there's any speaker who hasn't given his
11 presentation to -- yet, could you please do it at noon?

12 And we'll meet back in 15 minutes. That will
13 be 11:04.

14 (Brief recess)

15 MR. KADNAR: I'd like to introduce to you Mr.
16 Chris Hoidal, PHMSA/OPS western region director. Mr.
17 Hoidal is a veteran of the Pipeline and Hazardous
18 Materials Safety Administration, and he will moderate a
19 panel consisting of inline inspection vendors.

20 Chris?

21 Panel: Good Decision Making: Inline Inspection Vendors'
22 Perspective

23 Chris Hoidal, Moderator

24 MR. HOIDAL: Good morning, everyone. Like
25 Joy said, I'm Chris Hoidal. I'm the western region

1 director for the Office of Pipeline Safety out of
2 Denver. I have the pleasure of moderating the panel,
3 the ILI vendor panel.

4 Over the last few years, there has been a lot
5 of public dialogue between the operators, the operator
6 associations, industry associations, and regulators,
7 but not too often do we get the opportunity to listen
8 to the perspective of the ILI vendors, particularly in
9 the area of good decision making and how it relates to
10 integrity management.

11 We're very fortunate today to have such an
12 accomplished panel of experts from the ILI industry. I
13 know they will provide a lot of good insight and
14 recommendations on what ILI vendors and operators
15 should consider when testing and assessing their
16 pipelines.

17 Starting to my immediate left we have --
18 well, here's a change to your program. I'm sorry. Ken
19 Maxfield has replaced Mark Harris, but Ken is from TD
20 Williamson/Magpie Industries. Then we have Garrett
21 Wilkie, moving down the line, from BJ Pipeline
22 Inspection Services, Lisa Barkdull with Tuboscope
23 Pipeline Services, Shahani Kariyawasam from GE Energy,
24 and at the end, Bryce Brown from Rosen North America.

25 I believe that these presentations are going

1 to be very interesting. In order to get them done and
2 provide enough time for everybody to speak, we will be
3 splitting this panel around lunch. Three of the
4 speakers, Ken, Garrett, and Lisa, will speak before
5 lunch, and the last two will speak right after lunch.
6 So don't eat too much because I want you guys awake for
7 the last two presenters.

8 Each of the presenters will cover an area of
9 consideration that must be addressed by vendors and
10 operators alike to ensure good assessment of their
11 pipeline systems. Like the last thing -- like the last
12 panel, there will be an opportunity for questions after
13 all five panelists have presented.

14 The first person that will be speaking today
15 is Ken Maxfield. He is vice president of operations
16 with TD Williamson Magpie Systems. He has degrees from
17 BYU and the University of Wyoming. He has 19 years of
18 work experience in the pipeline inspection industry.
19 He is co-founder of Magpie Systems. They were created
20 in 1997, and in 2002, Magpie was acquired by TD
21 Williamson.

22 Ken?

23 Data Quality Assurance and ILI Personnel Operator
24 Qualifications
25 Ken Maxfield

1 (PowerPoint presentation)

2 MR. MAXFIELD: Thanks, Chris. It's a
3 pleasure for me to be here with you this morning to be
4 able to talk about something that I'm quite passionate
5 about, and that is putting instruments on a pig and
6 running it through a pipeline. I've spent the last 19
7 years working with pigs, and it's something that I
8 enjoy doing. And this industry gets under your skin
9 and it's hard to leave this industry.

10 So I've been assigned to talk about a
11 specific topic dealing with data quality and inline
12 inspection personnel. We could probably cover this
13 topic in a couple of days if we dove into it in detail,
14 but I have 15 minutes so we're just going to cover some
15 highlights and hopefully just give you an overall
16 presentation.

17 I want to cover four points when we talk
18 about data quality. First we're going to talk about
19 how data is collected in an instrumented pig, talk
20 about how the data is analyzed, how we can use other
21 sources of information, combining it with information
22 collected by the inspection tools and putting that all
23 together, and then talk about designing pipelines and
24 the conditions that would allow you to collect data
25 needed to do an assessment of a pipeline.

1 So, first, let's talk about collecting data.

2 We as service providers are in the business of
3 providing information. We sell very expensive data
4 sets to pipeline operators. That is our main product.

5 Now, a lot of things go into being able to
6 provide this information. We have to be designers,
7 manufacturers. We have to be skilled in the mechanical
8 engineering discipline, electronics, to put these types
9 of systems together. Most of the service providers up
10 here design and build their own equipment, and so we're
11 very passionate about coming up with systems to provide
12 information that is necessary to pipeline operators.

13 Let me say right up front that we are all
14 driven by the free market system. We see needs and we
15 go out and fill those needs, and that's what we do with
16 these inspection systems.

17 These tools are designed to collect
18 information about pipelines, and there's all sorts of
19 different features of a pipeline that you can collect
20 information about. There are mapping tools and
21 deformation tools and metal loss tools and crack tools.

22 These tools collect literally billions of pieces of
23 information as they travel down a pipeline, and so
24 these systems are very sophisticated and the
25 advancement of electronics over the last 10 to 20 years

1 has allowed these systems to continue to evolve until
2 they are very sophisticated.

3 Another trend we're starting to see in the
4 industry is combining technologies so that we can
5 collect more than one piece of information about a
6 pipeline as a tool travels through a pipeline. And so
7 we try to design the tool to look at a specific piece
8 of a pipeline, and we put that in a pig and run it down
9 a pipeline.

10 We always strive to continue to improve our
11 tools so that we can provide more information and
12 better information. So we as service providers like to
13 team up with pipeline operators. You have problems, we
14 like to solve problems. The best customers that I have
15 are the ones where we're actively engaged in solving
16 problems and making it a win-win between an operator
17 and a service provider.

18 And as we go down the road, we are constantly
19 improving these tools. A question I'll often ask is,
20 you know, how -- if we run a tool now and we run it in
21 three years, are we going to get the same data; what
22 happens if the tool changes? Our tools are always
23 evolving.

24 I look back over our history, and we're
25 updating electronics, we're adding more sensors all the

1 time, and these have an impact on the data quality.
2 We're hoping that we're increasing our accuracy,
3 increasing the quality of the data year after year as
4 we go through the process.

5 We like to talk with our customers about how
6 we can make our service better, how we can provide
7 better information. We're also noticing that sometimes
8 we're hitting the ceiling on certain technologies.
9 We've taken it to a level where we can make the quality
10 of the data better but we can't make the quantification
11 of the data better. And so we're communicating that
12 with operators as well as we design these systems.

13 Our world is changing. We as service
14 providers are about to have all these industry
15 standards come out, and they will impact on us and how
16 we conduct our business and how we design these
17 systems, how we qualify these systems, how we run these
18 systems through pipelines, and how we verify these
19 systems. So our industry is at a crossroads right now,
20 but I think it's for the better and I think going
21 forward over the next few years that it will be a very
22 interesting time.

23 So we have a couple of new regulations, API
24 1163 and there's a couple of documents associated with
25 that, that are just coming, and they will impact us.

1 Let's talk about how we analyze data. We
2 collect data on a tool. It's digitized in some format.

3 Some tools are just data acquisition systems. They
4 just collect data from sensors and store it digitally.

5 Other systems are designed to do on-the-fly processing
6 as they go down the pipe. But most information
7 collected from inline inspection tools has to be
8 evaluated by either computer or by a human being
9 sitting at a computer. Most information now is
10 digital, and most of the analysis is done on computer.

11 It is incumbent on us as service providers to
12 hire and train analysts to look at this information.
13 We're trying to extract parameters from this data and
14 provide information about operating conditions of a
15 pipeline.

16 So we as service providers have training
17 where we'll bring somebody in and go through steps,
18 evaluations, make sure that these analysts have the
19 necessary skills to start looking at data. So as we go
20 through that training process, they acquire more
21 experience and are able to do higher and higher levels
22 of data analysis.

23 We as service providers want to put out
24 consistent information so that one pipeline segment has
25 consistent features versus another. So we try to

1 standardize. We try to put this information, this data
2 analysis, through many quality checks so that our
3 systems are -- so that the information we're providing
4 to the pipeline operators is consistent.

5 Probably our most experienced analysts are
6 the ones doing the final check. I can't speak for the
7 other service providers, but our specific company, we
8 put all of our data through three different passes or
9 three quality checks as we go through the analysis
10 process to make sure that we're doing things in a
11 consistent format.

12 We also like a partnership with the pipeline
13 operators. We like to make sure that our tools are
14 providing the information that we say that they're
15 capable of providing. We want to make sure that the
16 information we provide is within specifications that we
17 publish for our inspection tools. So a critical part
18 of this process is to make sure that the information we
19 provide meets the tolerances or the specifications.

20 That requires feedback from the operator.
21 Many times we will not even be in sight, we won't know
22 what is done with this information. But it's critical
23 to make this system -- to have continuous improvement
24 to get feedback so that we can improve the system. If
25 we see that there are trends that we need to take

1 corrective action on, we can do that. So feedback is a
2 critical component of the data analysis process.

3 Our world is about to change with the passage
4 of this ILI-PQ 2005 for data analysts. This is a
5 document published by SNT that specifically deals with
6 people looking at inline inspection data.

7 This is a double-edged sword. With this
8 document, we as providers of inline inspection data are
9 held to a higher standard. What I mean by that is,
10 this new document is going to require analysts to have
11 a lot of experience before they're capable of making
12 judgment calls on anomalies in pipelines. The level of
13 standard is above and beyond any other area of
14 nondestructive testing in any other industry.

15 And so, as an example, the person looking at
16 the X-rays on a pipeline weld needs about a year of
17 experience to say whether that weld is acceptable or
18 not. With this new standard, somebody looking at an
19 MFL data set needs two years of experience to make
20 calls on MFL data. So with this new document, we are
21 holding ourselves up and applying a higher standard.

22 So it will change our industry as we go
23 forward over the next few years as we implement these
24 new recommended practices.

25 The third area is data mining. It's helpful

1 to look at the big picture of a pipeline. I find it's
2 interesting reading the news because it seems like
3 merger mania is alive and well in the pipeline
4 industry. As we inspect pipelines, the ownership of
5 those pipelines changes hands on a regular basis.

6 Some of the older pipelines, the
7 documentation is not very complete, and so we -- when
8 we look at data quality, we like to gather as much
9 information as we can about the pipeline from as many
10 different sources and put all those pieces together.
11 Combining all that information together helps evaluate
12 more about what's going on in a pipeline.

13 So things we like to do, we like to look and
14 see, has this pipeline had an inspection tool run
15 before. If so, what technology was used; what was the
16 results of the data; what is the condition of the
17 pipeline.

18 Nowadays, many people are running multiple
19 technologies through a pipeline. The inspection cycle
20 is up, but they might be running three or four
21 different technologies to get information about the
22 pipeline. It's helpful to combine those different data
23 sets together to help figure out what's going on with
24 the pipeline.

25 Look at the repair history about the

1 pipeline. There are some repair techniques now that
2 some inspection tools are blind to, so we don't know
3 whether the anomalies have been repaired or not. And
4 so looking at repair history is important as we piece
5 together this puzzle of what's going on inside a
6 pipeline.

7 And also, relying upon service providers'
8 experience. As we inspect pipelines year after year,
9 we generate huge databases of knowledge that we can
10 apply as we look at new pipeline segments. It's always
11 fun and challenging for analysts to go through a
12 pipeline for the first time. It's always -- that next
13 screen of information can sometimes knock your socks
14 off of what you find. It's always a challenge to see a
15 signal and try and figure out what's going on with a
16 pipeline.

17 The fourth area about helping with data
18 quality is pipeline design and condition. Before a
19 pipeline can accept an inline inspection tool, it has
20 to be designed to be able to insert it into the
21 pipeline and get it out the other end and traverse the
22 pipeline without damaging the inspection tool.

23 So there has to be some homework before an
24 inspection tool is run through a pipeline. We have to
25 decide can the pig or the inline inspection device get

1 into the pipeline safely, go through, carry out the
2 inspection, and get the required information that's
3 necessary.

4 Repairing a pipeline has a huge impact on
5 data quality and also first run success, so the more
6 homework that is done up front, the better odds or
7 chances of getting a good data set the first time.

8 We also have to look at operating conditions
9 of a pipeline. This has a huge impact on data quality.

10 Most inspection tools have specifications that are --
11 operating specifications that are necessary to meet.
12 These might include temperature, speed. They might
13 include the type of product the pipeline is running in,
14 the pipeline material, the wall thickness, bend
15 configuration. There's a host of different pipeline
16 configurations that needs to be evaluated.

17 The other thing is the cleanliness of a
18 pipeline. One of the questions we're often asked as a
19 service provider is "How clean does my pipeline have to
20 be?" That's a very difficult question to answer. It's
21 easy to answer after you've run the pig, but it's hard
22 to answer before you run the pig. So cleanliness can
23 have an impact on data quality, and so we will look at
24 that.

25 So, to summarize, our world is about to

1 change. These new specifications, industry documents,
2 are coming. They will change the way we do things
3 going forward. I think it is good change. I think it
4 will help us elevate the quality of data in the future.

5 Our data collection is an ongoing enhancement
6 process. I often lay awake at night trying to figure
7 out how I can detect an anomaly in a pipeline using a
8 new type of sensor. That's just the fun part of being
9 in this business.

10 Our data analysts are qualified and they're
11 matched with their area of expertise. All of our
12 analysts are qualified in all the different sensor
13 technologies that are used to inspect pipelines, and so
14 we will continue to train and to meet industry
15 standards with that.

16 Data mining is critical. It helps you
17 understand the big picture: what is going on in the
18 pipeline; how the pipeline is configured.

19 And, pre-job preparation is necessary if you
20 want quality data.

21 So that's my presentation.

22 (Applause)

23 MR. HOIDAL: Thanks, Ken.

24 Our next speaker is going to be Garrett
25 Wilkie from BJ Pipeline Inspection Services. Mr.

1 Wilkie is going to be talking about tool selection and
2 proper application of the technology. Garrett has
3 eight years of pipeline operator experience with
4 Enbridge Pipelines and joined BJ about one year ago.

5 And, Garrett?

6 Operation Considerations: Tool Selection and Proper
7 Application of the Technology

8 Garrett Wilkie

9 (PowerPoint presentation)

10 MR. WILKIE: Thank you, Chris. Good morning,
11 everyone. Let me just get set up here.

12 So, as Chris mentioned, I guess I've got both
13 sides of the fence and some experience working with an
14 operator, and the bulk of my career has been on the
15 operational side, both in operations and -- as well as
16 pipeline integrity. And I joined the inline inspection
17 service provider side of things here about a year ago
18 and find it very interesting being on -- having that
19 perspective from both sides of the fence. And
20 hopefully, I want to share that with you today.

21 So I was asked to talk about operational
22 considerations, tool selection, and technology
23 application. I first wanted to recognize and
24 acknowledge -- and others have said it here today as
25 well -- that inline inspection is an optimized means of

1 managing integrity. It's -- there are a number of
2 tools to manage integrity, but it's one of our best
3 tools.

4 And I think it's a proactive industry. It's
5 moving ahead. We're all involved with the development
6 of all these new recommended practices and standards
7 that are coming out, and it is a highly competitive and
8 highly technical service. So it needs to stay that
9 way. It's a service industry. It shouldn't be treated
10 as a commodity type industry, so.

11 A question was asked of how do we reduce the
12 errors and miscall, and I'll attempt to go through that
13 here with my presentation. But a key function to all
14 of it, and we've heard it again this morning through
15 other presentations, is improved planning and
16 understanding. Just open up those communication lines
17 between the operator as well as the ILI service
18 provider and everyone who is involved with the
19 integrity management process.

20 So, operational considerations. Talking
21 about a pipeline questionnaire. That seems a bit
22 boring. We've all heard it time and time again, but I
23 felt it relevant because it still is maybe taken for
24 granted somewhat. I was guilty of it myself. You
25 would put your summer student on to putting together a

1 pipeline questionnaire, and that's not a bad thing, but
2 it needs to be taken seriously.

3 What is happening there is the transition of
4 the information of, why are you running a tool, and all
5 of that specific pipeline's history and information is
6 being passed along from the operator to the service
7 provider. That's the key start to this whole process,
8 to understand what are the goals.

9 So, in speaking to goals, obviously there's
10 typically a primary inspection goal that you're trying
11 to achieve and will ultimately factor in your tool
12 selection, but there are also other things -- other
13 goals that you hope to achieve with running a tool.
14 These tools and inspections don't come cheap, so you're
15 hoping to maximize that and do it in the most economic
16 way.

17 There are a number of documents. Again, it's
18 been mentioned a lot today and will be the topic of
19 later discussions this afternoon. The NACE recommended
20 practices as well as the new API 1163. These
21 documents, again, for reference go into this in a lot
22 more detail and help you with working through selection
23 of tools, how to run the tools, how to qualify a
24 system.

25 I just wanted to talk a little bit and work

1 through an example, I guess, on tool selection and
2 technology application. I'm going to use an MFL
3 example, and it's been talked about today, standard res
4 or low res and high res.

5 To me, anyhow, it used to be quite clear in
6 black and white, and today it's not. I don't think
7 there's -- we talk about high-, medium-, and low res.
8 It used to be that it was purely magnetic saturation
9 that was the distinction between a standard res and a
10 high res, and that was, did you have enough magnetic
11 horsepower on the tool to saturate the pipe to optimize
12 sizing.

13 And I think as an industry there are still
14 standard res tools available, but we have evolved into
15 the bulk of the tools being utilized are what we would
16 have called years ago high res tools.

17 But there are a number of other factors to
18 consider. All these tools -- like I mentioned, we're a
19 highly competitive industry and we're all striving to
20 outdo each other and compete for your business. There
21 are different types of sensors, hall effects, coils,
22 number of axes, single-, dual-, tri-axial fields,
23 number of sensors, electronics, the software packages.

24 All this plays a factor in ultimately the data
25 quality, and so it's quite a rigorous process to go

1 through and evaluate us and determine what best suits
2 your needs.

3 So that's, I guess, the key statement there.

4 Understand what you want to inspect for and then
5 understand clearly the capabilities of the service
6 providers as well as their tools to achieve the results
7 you're looking for.

8 So, a little bit more into ILI and some of
9 the potential errors or sources of errors and feature
10 sizing, tool tolerances. There are performance
11 specifications, and API 1163 does get into that quite a
12 bit to work through that and essentially understand a
13 performance spec and what you as an operator are
14 holding the ILI service providers to.

15 There are other sources of errors, though, as
16 well. Positional errors. Is the tool equipped with
17 only odometers or is there also an inertial mapping or
18 an inertial navigation system on board to provide
19 center line and GPS coordinates.

20 And what plays into a factor with that is
21 also the type of repair work that you do. Are you
22 doing an entire -- exposing an entire joint of pipe
23 along with the adjacent joint ends to verify joint
24 length as well as three long-seam positions, or are you
25 just digging a bell hole, in which case you need to be

1 more precise.

2 So there have been and are errors out there,
3 and you have to understand that sometimes these things
4 can go astray. You need to be aware of that and check
5 into that. Often -- I know I've experienced myself
6 where a field crew will call in and say, "Yeah, we're
7 at the right spot. We dug it up and we found nothing.
8 That stupid ILI tool."

9 Well, the first question asked back, "Okay.
10 Well, let's work through the process. Let's step it
11 out. How did we get to that position?" And quite
12 often there are positional errors.

13 Data quality. Ken touched on it. Obviously,
14 the operational considerations in your pipelines with
15 speed, line cleanliness, all this plays into a factor
16 on data quality, and you need to be aware of that. So,
17 is the inspection tool capable of finding what you're
18 looking for.

19 Just, on feature sizing, I wanted to talk a
20 little bit about sizing tolerances. This is just a
21 high level example. Defect assessment codes use length
22 and depth. And these two examples; the one on the left
23 with the red shows an example of a tool with maybe
24 looser tolerances, larger tolerances, than the one on
25 the right.

1 And what can happen there is, obviously, with
2 those tolerances and being aware of those tolerances
3 and potentially factoring them into your decisions can
4 take you across that threshold into -- from an
5 acceptable feature to an unacceptable feature. So be
6 aware that tighter tool tolerances can lead to
7 optimized decision making.

8 I know that in this inline inspection
9 services, often we hear the complaint that it's too
10 much money and we're all striving to do things cheaper
11 and all the time being better. But also factor in the
12 cost of your repairs. Integrity management is the
13 whole picture, and I know myself it's -- I've spent a
14 lot of money on repairs, and so keep that in mind in
15 selecting the tools and being able to optimize your
16 program.

17 Just quickly talk about determination of
18 sizing accuracy. In sizing accuracy we need both the
19 sizing tolerance as well as the percent confidence or,
20 in other words, the standard deviation of the error.
21 So I know we're all familiar with plus or minus 10
22 percent on depth with 80 percent confidence. Well, I'm
23 not a big lover of stats, and you can make stats say
24 what you want. So in this example, this plus or minus
25 5 percent depth with 47.8 percent confidence is the

1 exact same thing.

2 So there's our generic, standard
3 distribution, plus or minus 10 percent 80 percent of
4 the time. That same distribution, plus or minus 5
5 percent, is 47.8 percent of the time. So be aware of
6 that.

7 One thing I did also want to mention; the
8 question of 80 percent, where did that come from, why
9 isn't it 90 percent, why isn't it 100 percent of the
10 time? Well, steel is imperfect. The line conditions -
11 - we're running these tools in non-ideal situations,
12 often. This isn't a laboratory setting, so there are
13 other considerations to take into account and
14 essentially that's the main driver for the 80 percent.

15 I've talked a lot about the tools. Something
16 also to consider is the in-the-ditch considerations.
17 Errors can and do occur in the ditch. Just because
18 they've got the pipe opened up and they're in the ditch
19 taking some measurements, quite often that's believed
20 to be the most accurate and often there are large
21 variations in errors that can occur in the ditch. So a
22 comment there is, qualify your field personnel similar
23 to the qualification of an ILI service provider.

24 Ultimately, with that, from tool and field
25 you're looking to achieve the state of validation that

1 is being talked about today and comparing the tool
2 versus field to determine performance. And that's
3 essentially, I guess, leading into Lisa's talk here.

4 But to conclude, errors do exist. Be aware
5 of them. There are tolerances on the measurements.
6 Just, again, throughout the day I think we're going to
7 continue to hear that there is always the increase in
8 communication between all those involved and
9 understanding of the problems and understanding of the
10 issues as well as the services that can be provided.
11 In strengthening that, we're just going to continue to
12 improve as an industry.

13 Thank you.

14 (Applause)

15 MR. HOIDAL: Thank you, Garrett.

16 Our next speaker is going to be Lisa
17 Barkdull. She is going to be talking about field data
18 verification, feedback loop, and importance of accuracy
19 on advanced analysis and risk management methods.

20 Lisa works for Tuboscope Pipeline Services.
21 She's the manager of the UT Data Analysis Section. She
22 has 13 years of experience with Tuboscope in
23 engineering, quality assurance, and data analysis, and
24 she has a master's in statistics from the University of
25 Houston, Clear Lake.

1 Lisa?

2

3

4

5 Field Data Verification, Feedback Loop, and Importance

6 of Accuracy on Advanced Analysis/Risk Management

7

Methods

8

Lisa Barkdull

9

(PowerPoint presentation)

10 MS. BARKDULL: Okay. I've been asked to talk

11 about evaluating inline inspection results. In

12 presenting this, I was presented with several

13 questions, frequently asked questions. Some of them

14 are, what is the process of evaluating -- is there a

15 process and what is it for evaluating the results; are

16 verification digs necessary; if so, how many; what type

17 of information is the service providers looking for

18 whenever excavations are performed and how is this

19 information used; and how important is it to understand

20 these errors and the accuracies of ILI survey data.

21 What is the process to evaluate ILI survey

22 results? There are several standards and references.

23 You've heard the standard API 1163 mentioned quite

24 frequently today, and in fact my presentation is using

25 that as the guideline. There's also NACE recommended

1 practices. Each ILI service provider probably has
2 their own standard operating procedures to verify ILI
3 survey results, and most operators that I've worked
4 with internally have their own systems in place. So
5 there are several references that you can use.

6 In API 1163, Section 9 of that standard
7 specifically addresses system results verification, and
8 it's called "Systems," it's not called "ILI
9 Verification Results." That's because they understand
10 that this is a system. It's the tool, it's the
11 personnel that run the tool, it's the analysts that
12 analyze the data, and it's the software that is used in
13 this process.

14 The process of evaluating results is a three-
15 step process. The first step is called process
16 validation, which I'll talk about in depth. Also, it
17 involves the comparison of the current data set with
18 historic data from the pipeline being inspected. That
19 has sort of been a common theme throughout these
20 presentations and an important part of the system.

21 It also includes comparison of historic data
22 or large-scale test data from the ILI system being used
23 because there is a history with that tool, also, not
24 just with your pipeline.

25 The Section 9 also has some criteria to

1 determine whether verification measurements are
2 recommended or not.

3 During the process validation part of this
4 process, the one thing that's key to understand is that
5 it is a responsibility -- this is the responsibility of
6 the ILI service provider and it's the responsibility of
7 the operator. This is a dual responsibility process
8 here.

9 The first step in this process would be
10 confirmation of the data analysis process, and this can
11 be anything as simple as checking out line links; are
12 the line links correct. Checking out -- we talked
13 about survey exception criteria. Were the survey
14 exception criteria met. Were the QC checks in the
15 field done correctly. Were the QC checks during the
16 data analysis process done correctly.

17 You can also look at the pipeline parameters
18 that were utilized for both the tool run during the
19 analysis portion and also during any subsequent
20 assessment of the data. Were the right pipeline
21 parameters used.

22 You would want to check the report just to
23 make sure you're launching traps correct, your -- you
24 know, the section that's being run. Just check for
25 errors through this overall process.

1 You also want to compare the recorded data
2 with any previous data. Do you have previous
3 excavations or previous repair information. You can
4 use this to do this process validation.

5 Maybe you've never -- maybe this particular
6 section of pipeline has never been run but you've used
7 this 12-inch tool to run many other sections in your
8 pipeline system. Look at that; is it consistent. Are
9 you expecting -- are you seeing similar results.

10 An important aspect of process validation is
11 the comparison of reported locations and type of
12 pipeline components to the actual areas. As an
13 operator, this is information you know already, or for
14 the most part you'll know where are your Ts, where are
15 your taps at, where are your valves at. So do a
16 comparison. Make sure what's getting reported inside
17 the ILI survey report is matching up to what you
18 expect. Likewise, service providers can use the
19 alignment maps that are provided by the operators to
20 them to do this comparison.

21 So the question is, do we have to do
22 verification digs. API 1163 has a guideline to
23 determine if verification measurements are recommended.
24 You'll notice there's a difference. There's
25 verification digs. There's verification measurements.

1 When you open up a hole in excavation, one
2 bell hole can render several, if not many, verification
3 measurements, so take advantage of those holes that are
4 being opened up. Don't just go up to your target
5 anomaly. Go ahead and take the time to gather all that
6 information, because it starts counting towards your
7 measurements and in statistics. We're not going to
8 have it lessen statistics, but the larger number you
9 have, the better it is. So you want to, when you open
10 up a hole, take advantage of that and get as many
11 measurements as possible.

12 So, to determine if you're going to do
13 verification measurements or not, one of the guidelines
14 -- one reason you may have to do it is just that
15 there's no historic data available on that line. Or,
16 perhaps it's a new technology. It's a new technology
17 that hasn't been ran very much addressing a specific
18 threat. You may want to do some verification digs.

19 Or perhaps you've found discrepancies during
20 that process validation. You may want to do some
21 verification digs.

22 Another reason that I don't have listed here
23 is the ILI service provider themselves may go to you
24 and say, "Hey, listen. You know, we had some
25 indications on this log. We'd like you to do a dig.

1 Take a look at it for us." Maybe it's something they
2 don't understand. Maybe there's an unusual signal. So
3 that's a likely scenario.

4 This last bullet point probably says it all.

5 The reality -- it's the integrity management protocol
6 within the operator's domain that warrants digs. More
7 often than not operators are digging because it's the
8 protocol within their own companies. But when you do
9 those digs, if you're going after your immediate or
10 whatever you're going after, take advantage of that
11 hole being open. Get all those other measurements.

12 Once you decide to do a verification dig,
13 before you go out there you need to understand
14 detection thresholds, measurement thresholds, reporting
15 thresholds, and interaction criteria. In fact, in API
16 1163, Chapter 10 deals with reporting, and that's one
17 of the recommended -- these are some of the features
18 that an ILI service provider is going to provide in the
19 report. Because, if you don't understand those, as
20 soon as you dig and find some discrepancy, it could be
21 related to some of these issues, and it just helps you
22 be more informed when you go out to the field.

23 You also want to consider errors associated
24 with ILI measurements and field measurements. Garrett
25 talked about this. Any measurement system has errors.

1 Typically what happens is that the ILI measurement is
2 weighed against the field measurement, which is
3 considered the baseline.

4 But the reality is that field measurement has
5 an error with it, too. Depending on what type of field
6 measurement you're doing, the error, you know, can
7 vary. If you're looking for external corrosion, that's
8 one error. If you're looking for a crack and measuring
9 that, that's a totally different error. So that needs
10 to be considered when you're looking at this
11 information.

12 The comparison between measured and reported
13 characteristics should be statistically valid and based
14 on sound engineering practices. Like I said, there is
15 not time to have a statistics lesson here, and I doubt
16 anybody would want one, but it does have to have some
17 sort of sound engineering practice.

18 One of the easiest ways -- everything I'm
19 speaking about is lined out in API 1163. There are
20 guidelines set forth in there. There are appendices
21 that give examples of these different methods.

22 One of the methods would be simply -- the
23 simplest, most often used is compare dig results to the
24 tool specification. If the tool says, say, for the
25 depth of extended corrosion we expect to be plus or

1 minus 10 percent with an 80 percent certainty -- and
2 I'm going to -- is this the laser here? Yes.

3 This is just a simple unity graph right here.

4 All you do is plot the -- in this case, the X-axis is
5 the field measurements. The Y-axis is the ILI
6 measurement. You put in your expected error bars. In
7 this case, it is listed at plus or minus 10 percent.
8 If this was going after external corrosion, I would
9 probably want to add in -- you would consider the error
10 of the field, too. It would change it a little bit,
11 not very much.

12 That is one way to quickly establish or
13 verify your data, or 80 percent of your calls within
14 here.

15 Another method is the histogram. What is
16 good about the histogram method is you are able to see
17 the distribution of your errors. You would expect in
18 this middle bin for the majority of your data -- 80 to
19 90 percent -- to be sitting inside there, but you can
20 see if it is skewed one way or the other to get a feel
21 for the distribution of how your errors are falling.

22 Other methods. For example, if you don't
23 have a large sample size and maybe a total of 80
24 percent is not falling within that error band, you can
25 look at some other statistical methods. One would be

1 using distribution functions to find out if the dig
2 results are statistically consistent with the tool
3 specifications. You can use binomial distributions,
4 normal distributions.

5 Another example that you can use would be to
6 build confidence intervals. These are intervals that
7 will determine the true performance capability. For
8 example, if you are testing for a certainty of 0.80,
9 you can build a confidence interval that tells based on
10 your data set what range that certainty actually falls
11 in.

12 The next question is, okay, we are going to
13 do these verification digs, we are going to analyze
14 this data in a sound manner. So, how many do we need
15 to do? There is not a magic number out there.
16 Unfortunately, there is not a magic number, but you can
17 look at some guidelines. You can look at the amount of
18 historical data associated with the pipeline or the ILI
19 system itself.

20 Something you want to do to save you a dig
21 is, do you have excavation information where you went
22 out, dug, sandblasted, recoated the pipe. Use that
23 information as a verification measurement without ever
24 having to dig up that piece of pipe again.

25 Do you have repairs that you made? As long

1 as the repair doesn't interfere with the technology you
2 are running, you can use that information. You have
3 documented it. You know what it is. Use it and you
4 don't have to open up a ditch but you can use it as one
5 of your verification measurements.

6 You could also use results from surveys with
7 similar pipeline and survey characteristics. Is there
8 a history with that tool? Do you understand how that
9 tool has performed in other sections of other pipelines
10 and under the same operating conditions as in your
11 pipeline? Use that information.

12 If your confidence levels associated with
13 tool specifications, say with your tolerance or your
14 certainty, is low, you may want to do some digs or do
15 more digs than you normally would. If it is a new
16 technology, you may want to do more digs than you
17 normally would.

18 The feedback loop portion of evaluating ILLI
19 survey results is an important part, and it has been
20 talked about by the operators and other people. It is
21 a part that allows us as an industry to become more
22 informed and improve.

23 The information from verification
24 measurements should be forwarded to the service
25 provider. The format can be agreed on between the

1 service provider and the operator. There are a lot of
2 best practices out there. There have been
3 presentations at NACE conferences. API 1163 has a best
4 practice. So there is a lot of information about how
5 information needs to come from the field to the service
6 provider.

7 Also, the quality and accuracy of the
8 information is very important. This information is
9 going into databases that we are using to make
10 inferences, both the service provider and the operator.

11 So you want to make sure the accuracy and the quality
12 of the data that you gather in the field meets those
13 requirements. This is as important as the accuracy
14 that you expect from the ILI service provider.

15 The third point is an important point. The
16 measurements -- the information that you give back
17 should include both measurements that are within and
18 not within tolerance, because a service provider is
19 going to hear pretty quickly when something is not in
20 tolerance. That is a call that is common. But we also
21 need the information back about those that are in, and
22 I want to demonstrate why this is so important real
23 quick, if I can.

24 If you imagine this graph right here and we
25 removed all this area right here and this is all you

1 hear about or this is all you hear about, that can
2 really skew your database. It skews the actual
3 capabilities of the system. So we want to make sure
4 that we get both good -- the measurements that are
5 within and without tolerance.

6 Any discrepancies between the reported
7 inspections and the field measurements that are outside
8 tool specification should be reviewed and discussed.
9 There should be a meeting and a communication between
10 the service provider and the operator to find the
11 source of these.

12 Sometimes it is simply, you know, you would
13 review the field verification process, you would review
14 your data analysis process, you review the operating
15 parameters at that time in the survey: was the tool
16 speeding at that time. You just want to go in and try
17 to identify where the source of these errors. Is the
18 anomaly that you are after out of the specification of
19 the tool. Is it not qualified by that tool, perhaps.

20 Once you have verified or you have done these
21 verification digs, the tool specifications can be
22 confirmed or perhaps even reestablished based on the
23 information provided during the feedback loop. This
24 allows for the continual improvement of the data
25 analysis process.

1 So, why is it important to go to all this
2 trouble to verify an ILI survey? Because once you
3 understand the data you have in hand, you can be
4 smarter. You can make better decisions. So it allows
5 the operators to implement an optimal repair and
6 mitigation program and do it more smartly.

7 It allows service providers to offer advanced
8 analysis methods. Shahani is going to talk a little
9 bit after lunch about some of this, but you can
10 implement more accurately pressure-based anomaly
11 assessment, growth analysis, fitness for purpose, or
12 the failure assessment diagram anthology.

13 This is just a quick example and I'm not
14 pretending to be a mechanics person at all, but this is
15 a diagram that most people are used to seeing. But it
16 shows, when you understand the errors associated with
17 the data you have -- if I have a point here for a
18 deterministic model, I have a point on a graph. But
19 once I understand errors associated with that
20 information, you can create a probabilistic model and
21 you can actually estimate failure probabilities. So
22 these are just some of the things that you can do with
23 this understanding of the data set you have in hand.

24 It also allows -- when you understand the
25 accuracies of your ILI survey data, it allows for

1 modeling the remainder of the data set. Because the
2 reality is, on most lines -- not all lines -- you are
3 not going to dig everything. You are going to dig a
4 sample. You are going to -- or, you are going to do
5 your process validation and understand the
6 specifications are being met, and you have to make an
7 assessment or have a story to tell about the remainder
8 of the data set. This process will allow you to do it
9 when you understand your ILI -- the accuracy of the
10 results.

11 In conclusion, successful evaluation of ILI
12 survey results is possible, using a systematic approach
13 and communication between all parties involved.
14 Understanding the accuracy of these results aids in
15 implementation of an optimal repair and mitigation
16 program. It also enhances the ability to implement
17 advanced analysis methods.

18 Thank you.

19 (Applause)

20 MR. HOIDAL: Thank you very much, Lisa. I
21 think I need a class in statistics now.

22 But we are going to be breaking. We are back
23 on schedule. We are going to be breaking from 12:00 to
24 1:30. Joy was pretty generous in the lunch break.

25 Please use the opportunity to think of some

1 questions, you know, over lunch, maybe with your
2 coworkers, on a question you want to ask the entire
3 panel.

4 We have two more presenters. We have Shahani
5 and Bryce. They will be presenting immediately after
6 lunch. We are going to start promptly at 1:30. Go
7 have at it and go eat.

8 (Whereupon, at 12:00 p.m., the proceedings
9 were adjourned for lunch, to reconvene at 1:30 p.m.,
10 the same day.)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1

2

3

4

5

A F T E R N O O N S E S S I O N

6

1:30 p.m.

7

Good Decision Making: Inline Inspection Vendors'

8

Perspective (Continued)

9

Chris Hoidal, Moderator

10

MR. HOIDAL: The first speaker is Dr. Shahani

11

Kariyawasam. Dr. Kariyawasam will be talking about

12

advanced analysis methods for ILI interpretations. She

13

has a Ph.D. in structural engineering, and the last

14

five years -- or, for five years she was with Seifert

15

Technologies, developing pipeline integrity management

16

software and consulting. She has been with GE Energy

17

for the past two and a half years, and she is

18

responsible for developing and improving integrity

19

services.

20

I'm just going to call you Shahani. Shahani,

21

come on up.

22

Advanced Analysis Methods

23

Shahani Kariyawasam, Ph.D.

24

(PowerPoint presentation)

25

DR. KARIYAWASAM: I have been asked to talk

1 about advanced methods, so I thought first I will
2 define my categories. I think we all quite agree that
3 ILI is essential to ensure pipeline integrity and
4 safety. We know the ILI methodologies -- the two ILI
5 methodologies that are covered here -- or, the services
6 that are covered are detection and sizing and dig
7 verification.

8 However, to ensure safety, we all know that
9 assessments have to go beyond ILI. To ensure safety,
10 we have to go into secondary assessments of the
11 pipeline, both before the ILI and after the ILI. We
12 also have to -- integrating all these solutions is
13 essential to preventing failures.

14 For the convenience of this presentation, I
15 have broken it into three categories: the different
16 kinds of assessments, the primary assessments, the
17 secondary assessments, and the tertiary. And I have
18 given a very high level process diagram here to show
19 the interrelatedness of these different kinds of
20 assessments.

21 The primary assessments that I name here are
22 essentially the services that ILI provides directly or
23 traditional ILI servicers have provided: the
24 detection, the sizing, the dig verification and run
25 validation around the inline inspection.

1 The second reassessments as defined in this
2 presentation are the assessments that use the ILI data
3 as well as the assessments that are pre-ILI, that
4 qualify the ILI or provide the right guidance for the
5 ILI.

6 So these different assessments -- the pre-
7 assessments looked at the tool selection which Garrett
8 talked about. Many aspects have already been talked
9 about.

10 We also have to consider what threats we are
11 facing, so the risk assessment comes into it. We have
12 to do the risk assessment to know what kind of threats
13 we are expecting our pipeline to have or know that our
14 pipeline has. That will define what kind of types of
15 defects we are looking for.

16 The pre-ILI tool selection also includes
17 aspects like looking at what kind of defect we have,
18 will our tool be able to see these defects, and also to
19 consider your pipeline, see what kind of critical sizes
20 of pipeline -- defect critical sizes are relevant to
21 your pipeline, and then find out whether the tool that
22 you are expecting to run can actually see that size of
23 defect.

24 This kind of analysis -- we have found
25 through our experience that even though we expect the

1 operator to do the tool selection that we need to give
2 the guidance to the operator to do so. I will talk
3 about some of those methodologies.

4 The post assessment can be of different
5 types. Here the post assessment -- I have mentioned
6 feature assessment and maintenance optimization. Now,
7 this can go into different levels. It can be done on a
8 deterministic level, it can be done on a probabilistic
9 level. There are many levels that we can do it at. I
10 think some of the previous speakers alluded to some of
11 the probabilistic methods, and we can do these at
12 different levels. But what is important is that it is
13 using the data generated by the ILI data and providing
14 solutions to ensure safety and integrity.

15 So it is essential that these assessments are
16 also correct and accurate and done appropriately so
17 that we can integrate the ILI data appropriately.

18 The tertiary methods that I defined here are
19 the different assessments that we provide almost as a
20 feedback loop. So that, we take all the data that
21 these assessments generate, we find -- we organize that
22 data and manage the data so that we can mine the data.

23 We can find the trends, we can learn from our
24 mistakes, we can learn from what the data is telling us
25 and improve each of these assessment methodologies.

1 And the main point is that we have to
2 integrate all of these solutions to ensure reliability
3 of a pipeline. We need to have good detection, good
4 sizing going hand in hand with good assessment, what
5 kind of defects we have, and predict the life cycle of
6 a defect.

7 In this -- because I have a very short time,
8 what I will do is give you a couple of examples of each
9 different kind of assessment. Each assessment
10 methodology we have used because we have quite a lot of
11 data in our company. We have been able to gather this
12 data, and by using this data we have been able to
13 improve each of these assessment methodologies. So I
14 will give you a couple of examples of each of these
15 different kinds of assessments.

16 First of all, I've got the primary analysis,
17 which is of course the ILI services, what we provide,
18 and the strengths. I think we all acknowledge the
19 strengths of our ILI methodologies and technologies.
20 We know that they have a proven detection capability
21 unparalleled by any other assessment to assess a whole
22 pipeline. The detection capability has not only been
23 able to prevent a lot of failures but it assures
24 pipeline safety throughout the pipeline as opposed to
25 many other assessment methods.

1 Now, the multiple technologies also help us,
2 and this is a strength that we have. I think, again, a
3 couple of the previous speakers have talked about the
4 different technologies available and that there are
5 different technologies available for the different
6 kinds of defects.

7 We also have a strength of now having these
8 ILI standards, the latest standards we have for quality
9 control, and we can leverage these to improve and
10 prevent failures. I think we haven't quite fully
11 harnessed those capabilities yet.

12 Some of the improvements that we have been
13 providing in the primary analysis are streamlining the
14 analysis process. In streamlining the analysis process
15 what we really focus on is doing the mundane, everyday,
16 simple activities, automating those activities so that
17 we can put the analysis effort in the right place,
18 where the attention of the expert analysts is required.

19 That improves the process as well as it improves the
20 time of delivery because we can do it much faster.

21 We have also, I think, done a lot of
22 consolidating of data streams from the tools and
23 databases. We have seen within the last few years
24 quite a few dual tools coming out, and these dual tools
25 have been able to consolidate the data much better.

1 With those tools we will be able to consolidate the
2 data much better and leverage these databases.

3 Another area of continuous improvement that
4 we see among many of the ILI providers is the defect
5 sizing algorithms. This is a continuous improvement
6 that we see. The different ones that are ongoing or
7 needed further enhancement is the dig verification
8 process. Again, I think Lisa spoke to that, and others
9 have spoken to the fact that we do need a feedback
10 loop. We need a better feedback loop. We need better
11 communication to improve this.

12 We need better data management. We need also
13 mechanical damage. We have been able to harness
14 technologies to improve corrosion and also our crack
15 assessment methodologies. But we are in the process
16 right now of developing improved mechanical damage
17 analysis methodologies.

18 As an example of secondary assessments, now
19 this can be done pre- and post. And this -- I'm giving
20 you one example here of a pre-ILI assessment because we
21 find that operators need guidance and help in finding
22 the right tool and also verifying that your tool will
23 be able to see the different critical defects that are
24 available.

25 So this is an example of a service we provide

1 with the crack tool. Because the crack tool -- in the
2 pipeline there are critical crack sizes, we have to
3 ensure that the critical crack sizes are within the
4 tool's spec with adequate confidence.

5 The other objective here is to also provide
6 an adequate reinspection interval, ensure adequate
7 inspection intervals within the appropriate corrosion
8 growth rate.

9 Now, in doing this, we use this kind of
10 graph, and this is one example of how we do it. The
11 graph looks at the critical crack sizes for a certain
12 length of crack and an MAOP. And for your particular
13 pipeline we could draw different critical crack size
14 lengths. For the different wall thicknesses, we have
15 three lines plotted here.

16 Now, the Y-axis would give you the crack
17 depth. If we mark on this our tolerance, then we know
18 that below this we will not see the defects. So we are
19 acknowledging the defects that we will not be able to
20 see in our tool.

21 If we know our toughness, we can see what is
22 the largest depth we will not be able to see through
23 this inspection -- through this tool. So we know that
24 this defect will not be able to be seen by the ILI and
25 therefore we have to assure that the defect that is

1 left in the pipeline, using the appropriate corrosion
2 growth rate, will be able to grow at that growth rate
3 for a certain number of years, and that number of years
4 we can calculate through that process. This will
5 ensure a retesting to it.

6 Of course, in this process we do take
7 conservative values. We take the 90th percentile
8 depth. We take a very conservative growth rate.

9 This is one example of a pre-ILI assessment
10 and an assessment that will ensure the right usage of
11 the tool and of course prevent failures because of
12 that.

13 This is one example of a secondary analysis
14 in the assessment. Now, if your assessment is poor and
15 we don't assess our pressure -- our failure pressure
16 properly, then we will not be able to know which
17 defects are the most critical, or we might have
18 miscalls or false digs. So the better your assessment
19 methodology, the better dig program you can have and
20 better economy as well.

21 This is a methodology called length adaptive
22 pressure assessment. It is an improved failure
23 pressure assessment methodology using ILI box data.
24 The ILI box data you can see here. It follows the same
25 pattern as the op strength. It is an op strength

1 approximation, and instead of the field measurements,
2 we use the inspection box data.

3 This process has been validated against dig
4 and burst data. There are some IPC papers on this
5 methodology, which has shown to be a very good
6 methodology to assess the pressure of the pipeline --
7 failure pressure. These results have been found to be
8 more accurate to give burst pressure predictions rather
9 than conventional methods. This is available both with
10 MFL and DP technology as well.

11 So this will improve the dig program and
12 prevent failures, and that's why this kind of
13 assessment has to go hand in hand with ILI to prevent
14 the failures.

15 If you look at pipeline reliability and look
16 at the sensitivity of the pipeline reliability to
17 different aspects of the pipe, the aspects that it's
18 most sensitive to are depth and depth growth rate. So
19 if you were to get the best bang for your buck, you
20 would put your effort in refining your depth
21 measurement and your growth rate measurements. That is
22 why we have taken lots of effort in getting --
23 assessing and quantifying our depth as well as
24 quantifying our growth rates.

25 Our corrosion growth rates we can get from

1 repeat ILI data. There are different methods to do
2 this. Again, many people do it with feature matching
3 from spreadsheet data. This can be done on a number
4 basis, but it has the problem of not having -- the
5 benefit of not having -- not knowing what sizing
6 algorithms were used and also it doesn't consider the
7 clustering because the clustering can be different for
8 the two ILI runs.

9 The feature matching using visual display
10 software and box matching is also prevalent in here.
11 Because you use the box data, you are avoiding the
12 clustering problems but yet the sizing algorithms --
13 the different sizing algorithms, the errors that that
14 brings, is not overcome.

15 The best method that is available is the
16 signal matching. The signal matching is also called
17 run comparison, and you compare the two runs -- the
18 signals of the two runs so that you look at actual
19 physical point to point and therefore, also, because
20 you are looking at the signal and not the box data, you
21 eliminate the extra error that comes into play because
22 of the sizing, the two different sizing algorithms.
23 Very often, because there is a time lag of about five
24 or six years between the two runs, there is a
25 difference in sizing algorithms because we are

1 constantly improving our sizing algorithms.

2 An example of the tertiary assessments and
3 continuous improvement is given here. Here we would --
4 we consolidate all the different kinds of data. This
5 is very important. I think many people alluded to this
6 as well, to get our right of way information, our
7 contour information, our ILI data, pipeline attributes
8 all in one paper and have a smart current alignment
9 sheet. Because it is current and we know exactly where
10 the pipeline parameters correlate to each other, we can
11 assess features by correlating the ILI data with the
12 right kind of pipeline attributes.

13 It also aids in mobilizing remediation crews
14 so that they will be able to reveal -- these methods
15 would reveal the right of way access issues right at
16 the beginning so that they will not have -- they will
17 have less false digs.

18 We also aid data mining, and it enables
19 improvement of the process -- of the different
20 assessment processes, as I talked about earlier.

21 This is an example of a tertiary method
22 because this is a method that was developed using our
23 past data. We have about 15,000 kilometers of crack
24 detection data, and we have been able to use this data,
25 look at the data, look at the trends, and find out

1 certain characteristics and predictions. Because
2 looking at the data we found that we had very good
3 detection capability, we could find -- we could make
4 sure that we would be able to detect SCC.

5 Here is where you don't know whether you have
6 SCC or not in a pipeline, in a case where you are
7 trying to find out -- validate the presence of SCC.
8 You would use this methodology just to be able to
9 validate either the absence or the presence of SCC.
10 This is done through the database of crack detection
11 used to provide necessary -- the data has been used to
12 provide the necessary reliability and the confidence
13 level.

14 In conclusion, I would like to talk about
15 effective decision making because this is all about
16 decision making. One of the speakers earlier said,
17 what does good decision making look like, and I would
18 like to say that good decision making has to always
19 think about the probability of failure and look at all
20 the different assessments that come into preventing
21 failures. The ILI services, which is a snapshot of the
22 pipeline at one particular time, but how we predict
23 what happens in the next few years. We need advanced
24 assessment methods for -- to integrate and learn from
25 our past history. We need to integrate our data and

1 keep improving our dig program.

2 And with that, I will leave you with the
3 thought that integrated solutions ensure reliable
4 pipeline integrity.

5 Thank you.

6 (Applause)

7 MR. HOIDAL: Thank you, Shahani.

8 Our last presenter in this panel is Bryce
9 Brown from Rosen North America. He is manager of the
10 Integrity and Compliance Department. He is in his 14th
11 year with the company and is responsible for pipeline
12 regulations and integrity as they relate to the
13 company's pipeline inspection business.

14 He has a B.S. in civil engineering from Texas
15 A & M. He is a member of ASME and NACE. He is a past
16 president of Inline Inspection Association, and he is
17 also the current president of the Pigging Products and
18 Services. And you were also the vice chair on the API
19 1163 Working Committee.

20 Welcome, Bryce.

21 Inspection Technologies: Ensuring Confidence in ILI

22 Methodologies

23 Bryce Brown

24 (PowerPoint presentation)

25 MR. BROWN: Thanks, Chris.

1 I have been asked to present on the subject
2 of ensuring confidence in ILI methodologies. First of
3 all, I would like to say that this is one forum that we
4 can all, as all stakeholders involved and interested,
5 this is one method to start to understand and gain
6 confidence. And, appreciation goes out to the federal
7 and the state regulators for organizing such events in
8 that we can all sit together and hear the same pieces
9 of information, take that back, and implement those
10 together.

11 So, with that, moving on, ensuring confidence
12 in ILI methodologies. ILI methodologies are well
13 established and well proven techniques and tools,
14 processes, procedures. They have been helping pipeline
15 operators to ensure safe, reliable, and economic
16 operation of their pipelines and pipeline systems.
17 That was emphasized this morning by Stacey on safety as
18 well as during our last panel.

19 Some of the general information. As we heard
20 this morning, ILI dates back to the mid '60s, coming on
21 40 years of being applicable to pipelines. ILI is a
22 mature industry. There are technologies that are in
23 place: for example, high res MFL, which has been
24 mature for some time. There are other technologies,
25 new, evolving technologies, that because you, the

1 pipeline operator industry, are helping us to make
2 those mature and get those further developed so that
3 they can meet your needs in those areas.

4 Vast strides have been made over the past 15
5 years in this industry. That has to do with electronic
6 sensor techniques, general learning of physics, and so
7 forth. Also, the development and introduction of new
8 and more advanced technologies and techniques have come
9 about over the last 15 years. And of course, as you
10 know, the R & D efforts continue in our own facilities
11 and in your industry to provide for the industry what
12 you're looking for as far as the requirements and
13 demands.

14 We do have a major stake in the proper
15 implementation and use of ILI methodologies. This is
16 our business. We want to make sure with you, together,
17 that you're getting what you are requiring from our
18 services.

19 We want to be successful -- we are successful
20 -- in helping the operator, again, ensure safe,
21 reliable, and economic operation of their pipelines.
22 As stated in the previous panel, once again there is a
23 success story out there, and working together has only
24 proven that to be the case.

25 Ensuring confidence in ILI methodologies has

1 to be at the forefront, and that is the, of course,
2 subject of this talk. We do have confidence in the
3 methodologies that we employ. We have the expertise,
4 we have the know-how, and we have the track records.

5 You, the operators, you have the expertise,
6 you have the know-how in your operations and pipeline
7 integrity. You know your pipelines best.

8 There are operators that have mature
9 programs; that's for sure. We realize that. We have
10 relationships with you on that, and it is when we both
11 have understanding about what we can provide to each
12 other is when we are going to gain confidence in the
13 methodologies. So this is a key.

14 So, how do we achieve understanding? Through
15 timely, open, and effective communication.

16 So, how can one achieve understanding of ILI
17 methodologies? Well, again, I said that earlier, as I
18 started. Through forums like these. But basically,
19 ask us. In today's industry and marketplace, all of us
20 represented on this panel here today have to be
21 obligatory to answering your questions, making you
22 understand what our capabilities are, our limitations,
23 and the methodologies that we offer.

24 I'm going to give you some ideas of industry
25 guidance. These are three publications that most of

1 you are aware of. If you're not, these are a good
2 starting point. There are others out there, but once
3 again, these are good reference documents and
4 publications that could be shelved to look into
5 further.

6 As you know, there are a number of workshops
7 out there, and schools and conferences. An observation
8 was made this morning that nobody can remember the last
9 time, or if ever, a pigging conference was so well
10 attended as this is. So that goes out to the group
11 here in their appreciation for the attention you give
12 this.

13 But, yes, there are a number of workshops and
14 conferences that you can leverage to understand these
15 methodologies and start to gain confidence. These
16 workshops and conferences offer up real-world
17 applications of the technology by customers, by
18 pipeline operators. I think that it's important that
19 we hear from you what you're learning in the field of
20 application of these methodologies.

21 On the other side, you also get information
22 about evolving and emerging technologies. I can think
23 of about six papers presented this year alone on that
24 subject of result validation of ILI technologies.

25 Standards. There are existing standards and

1 recommended practices that we as inline inspection
2 service providers utilize already today. One of those
3 you may be aware of is the European Pipeline Operator
4 Forum Reporting Standard. That is a document that
5 originated in Europe by pipeline operators in Europe.
6 It has come across the Atlantic and been adopted by
7 inline inspection companies as well as some of you.

8 NACE publications on inline inspection. NACE
9 TR 35100 talks to the capabilities and expectations
10 from ILI technologies that are offered, and NACE
11 RP0102, published in 2002, offers a very good insight
12 to ILI process.

13 So this new environment with IMP means news
14 and enhanced standards. So, yes, I will also mention
15 these three new standards. What do these standards
16 offer all of us in this room? Improved communication.

17 These will offer us a means to look at the same
18 documents and start to talk effectively about the
19 particular subjects covered.

20 Improved transparency. I think that is a key
21 these days in the industry, is the fact that you need
22 to understand what we do and vice versa. So that will
23 be something that you will gain from these documents.

24 Improved understanding. Once again, that is
25 a key here in order to improve our confidence in these

1 technologies and techniques.

2 Once again, we answered your call here on
3 these three documents. This was driven by you, the
4 pipeline operator industry, and we worked on the first
5 two in particular over the last three years together to
6 provide consensus and usable information in these
7 subject areas.

8 Of course, there are associations to help you
9 improve your understanding. These groups are out there
10 for you. The Pigging Products and Services
11 Association, they offer up a group of members that have
12 a wide variety of applicability and applications,
13 products, and services. You have the Inline Inspection
14 Association, which you will hear about shortly. These
15 are items that -- and associations that you can
16 leverage and ask us questions and hopefully you will
17 get some consensus response from these groups.

18 I call this recognized gaps, or more so,
19 probably action items moving forward. As technologies
20 and techniques advance and we introduce new processes
21 and so forth to you, then we need to make sure that you
22 understand what it is that we are providing. That is
23 one of these action items for us as industry providers,
24 is that we play a more active role in that
25 understanding.

1 We, of course, do that with you and make sure
2 that when we're in a relationship with you that you do
3 understand what you're getting from us.

4 And you do this as well, but again, we need
5 to make sure that we're clear on your expectations,
6 that you clearly spell out your expectations and as
7 early in the process as possible. The more information
8 that we understand that you require, the better it is
9 at the end of this process. We are going to be
10 successful together.

11 Improved and more timely feedback between all
12 stakeholders. I think you've heard that a couple of
13 times already today. That is a key. We need more
14 feedback from you, the operator. You are out there
15 verifying our results. You are out there making your
16 repairs based on our reports and data. We need that
17 information back. Again, we want to put that back into
18 our loop for continuous improvement and we want to
19 learn from that.

20 Improved communications among all
21 stakeholders, again, everybody in this room. I think,
22 again, this is a good avenue to start that
23 communication. It's very difficult in such a short
24 time to go into much detail, but again, we need to
25 understand each other and each other's requirements

1 from all views. I think that is something moving
2 forward that we should try to take advantage of.

3 A simple schematic to conclude, but working
4 together, again, everybody in this room, all the
5 stakeholders, to ensure this confidence in these ILI
6 methodologies and to ensure safe, reliable, and
7 economic operation of pipelines. That is what we need
8 to try to accomplish, and we can do that. It has been
9 proven that it has been done. So there's -- we just
10 need to recognize together, operator to service
11 provider to stakeholder, in particular in that
12 relationship what are those gaps.

13 Thank you.

14 (Applause)

15 MR. HOIDAL: Well, thanks, Bryce. I
16 appreciate it. They were great presentations, all five
17 of them.

18 Question-and-Answer Session

19 MR. HOIDAL: We have a unique opportunity
20 here, a rare opportunity, to get five of the -- five
21 major ILI vendors up here that you guys can ask
22 questions of. I was wondering if -- you know, there is
23 somebody back there already.

24 Joy, how much time do we have for questions?
25 Where is Joy? What time is it now? Fifteen minutes,

1 okay.

2 Go ahead and identify yourself and pose your
3 question. Make sure you direct it to one person, or if
4 it's for the whole panel, let them know.

5 AUDIENCE MEMBER: Larry (Name), (Name)
6 Pipeline. What measurable criteria do you use to
7 determine if a pipeline is clean enough to run your
8 tool?

9 (Laughter)

10 PARTICIPANT: It's like deja vu.

11 MR. MAXFIELD: I'll jump in. It varies from
12 technology to technology. I think MFL tools are a
13 little more tolerant of dirt or debris than like a UT
14 tool. Deformation tools might be a little more
15 tolerant than an MFL tool. So it depends a lot on the
16 type of technology.

17 But like I said in my presentation, it's hard
18 to tell you ahead of time, but after we run the tool
19 I'll let you know whether it was clean or not. It's a
20 very subjective thing.

21 MR. HOIDAL: Does anybody else have anything
22 to add?

23 (No response)

24 MR. HOIDAL: All right. Up front here.

25 AUDIENCE MEMBER: (Name) My question is,

1 when you run your pig, how do you actually calibrate,
2 before or after your operations? Do you have like a
3 device with a low-interference -- pig?

4 MR. HOIDAL: Are you directing that to one
5 vendor or all five?

6 AUDIENCE MEMBER: All five.

7 MR. HOIDAL: All right. Go ahead. We'll let
8 Bryce take this one first.

9 MR. BROWN: I'll try and understand the
10 question. To me, it sounds like, do we calibrate our
11 tools?

12 AUDIENCE MEMBER: Exactly. Between running
13 your pig.

14 MR. BROWN: Yes, we do. We do calibrate our
15 tools against known, typically artificial anomalies
16 implemented to find the ones -- the known wall
17 thickness inspected, maximum wall thickness inspected -
18 - expanded, and run multiple tests against those defect
19 populations to generate a database and, upon that, to
20 test our algorithms against sizing to establish a
21 calibration curve, if you will. That's typical.

22 AUDIENCE MEMBER: So you calibrate your
23 instruments -- my question is, do you calibrate off
24 site, before you come to pig?

25 MR. BROWN: Okay. Real quick. We continue

1 that process with bench tests, standard tests, and
2 sensitive tests to ensure that the tool is functioning
3 in the way that it was calibrated, yes.

4 MR. HOIDAL: Go ahead.

5 AUDIENCE MEMBER: (Off mike) (Name) with
6 (Name). I think most of the presenters talked a little
7 bit more in terms of improving the communication
8 between the operators and the providers so that it is
9 synchronized and so we get better results. Why do you
10 think there has -- doesn't it seem that we are...Why
11 hasn't...from the service provider's point of view?

12 MR. HOIDAL: What's your short question? I
13 don't mean to be disrespectful, but.

14 AUDIENCE MEMBER: There was a gap in
15 communication mentioned. What is missing there on both
16 hands? Why hasn't this communication improved over the
17 years?

18 MR. HOIDAL: I think that is a very clear
19 question. I guess starting -- maybe Garrett or Lisa
20 could attack this one. What has been, in your idea,
21 the perceived or what you perceive as the most common
22 gap in expectations, I guess.

23 MR. WILKIE: Maybe just in relation to what I
24 talked about in my presentation and starting right from
25 the beginning of the process with the questionnaire.

1 It may seem like the questionnaire is somewhat taken
2 for granted, but it's that initial communication step
3 of relating the information from an operator and their
4 system and what they're looking for to that vendor.

5 I still think, in seeing it from both sides
6 of the fence, that some are done very well but there
7 are a lot that are poorly done. So it is that initial
8 step of transferring that knowledge of the pipeline
9 history and what you're looking for to the service
10 provider. If that takes place, then everything can
11 fall into place from there because you've opened the
12 communication.

13 MS. BARKDULL: And also, I don't think
14 necessarily that there has been a lack of communication
15 over the last 40 years between ILI providers and
16 operators. I think the communication has been there.
17 Just because a standard comes out that emphasizes we
18 need communication doesn't necessarily mean there was
19 none to start with. I think there has been a good
20 communication.

21 The fact is, though, with the regulations and
22 the industry today, more operators that in the past
23 haven't pigged before are in this business now. So
24 there is an education process and a communication that
25 needs to take place that hasn't been there before. It

1 may be more to address those situations.

2 AUDIENCE MEMBER: (Off mike) -- for a long
3 time that communication was not there...partnership.

4 MS. BARKDULL: There is quite a bit of
5 partnership.

6 DR. KARIYAWASAM: (Off mike) I think the
7 communication that we were talking about that we have
8 been lacking or can improve is more under the
9 certification, where operators are going and digging
10 and...but we very often don't find out about that. For
11 us to be able to find out what kind of...we need to
12 know all of the digs. That communication can improve.
13 The general communication is good because we know our
14 operators.

15 MR. HOIDAL: Any other questions? Yes, Mr.
16 Flanders.

17 AUDIENCE MEMBER: My question would be, the
18 vendors are all now producing an estimated repair
19 factor or comparisons of the ruptured capacity of the
20 pipe to what the defect would allow as safe operating
21 pressure. Now, as you are producing this data, does
22 anyone give to the operators that data, that estimated
23 repair factor, with tool tolerances both in depth and
24 in axial plane as a standard course? Do you report
25 that to the operators?

1 MR. WILKIE: I guess for -- speaking on
2 behalf of BJ Pipeline Inspection, we do provide the
3 RPRs or ERFs to our clients, and as far as the
4 tolerances, they are posted on our performance
5 specification. It essentially becomes an operator's
6 decision of how to use those tolerances and factor that
7 into their program. So, how are they doing the repair
8 program to determine whether or not how and when they
9 would use those tolerances.

10 DR. KARIYAWASAM: (Off mike) We do provide
11 these with the tolerance numbers, but if they
12 require...very often we do it in consultation with the
13 operator. So if they want a probabilistic number, we
14 can provide that as well, and we can provide, again,
15 the RPR or the ERF factor. That again depends on the
16 operator. Some prefer RPR, some prefer...some
17 prefer...

18 AUDIENCE MEMBER: Does anybody add in the
19 tolerance or axial competency -- not competence, but
20 the axial length tolerance level also in the strength
21 of the -- combine those figures to provide one failure
22 path?

23 DR. KARIYAWASAM: (Off mike) If you -- we
24 have a lot more error and we have a wider error band
25 than the depth. When we call out the pressure, we call

1 the number...but to give the error band. If you were
2 to put the error band on the depth and the length, that
3 would call out an extremely conservative pressure and
4 that wouldn't be reasonable.

5 AUDIENCE MEMBER: As long as the operators
6 know how you're doing it, that's what I'm trying to
7 drive at. You need to be up front and tell the
8 limitations of your data set because some of the newer
9 operators are taking this data and saying this is all
10 we do. We don't do any further analysis of it. That's
11 my comment.

12 MR. HOIDAL: Anybody else want to add
13 anything? I have another question here that came from
14 the webcast.

15 (No response)

16 MR. HOIDAL: Okay. I'm going to direct this
17 one to Lisa.

18 "It was noted that vendors should provide
19 feedback after the operator completes the field
20 investigation or their direct inspections. What
21 specific action will vendors take to reestablish the
22 tool specifications when the field data is out of
23 tolerance?" Basically, what do you do after you find
24 out that the field data doesn't match up with what the
25 tool said?

1 MS. BARKDULL: Once a significant sample set
2 is evident, the tool on that particular survey, the
3 survey results, are out of specification, we'll take a
4 look at that data. Again, this was covered in API
5 1163. We'll take a look at that data, and there are
6 several options available.

7 First, we're going to investigate, as I
8 discussed, why is it out of tolerance? It may be
9 something in the process of analyzing the measurements
10 in the field to the ILI survey results that is the
11 problem itself. So you are going to investigate all
12 possible options with the tool -- were the survey
13 operational parameters at that time out of the limits
14 of the tool. Was it speeding at that time or the wall
15 thickness, you know, thicker than the tool can handle.

16 But the choices, once you understand that,
17 are to take that information and to reanalyze the data,
18 looking at that information. Another choice would be
19 to reestablish the tool specifications for that
20 particular survey or in that particular area. Once
21 again, once you understand that, you are able to make
22 your analysis and continue with your mitigation
23 program.

24 The other one would just be simply to say the
25 data is not verified for that particular area.

1 MR. HOIDAL: Does anybody else have something
2 to add? Bryce, Shahani, Garrett?

3 (No response)

4 MR. HOIDAL: All right. Any other questions?

5 (No response)

6 MR. HOIDAL: Well, I have one question I want
7 to ask, if that's okay with you. My question is -- and
8 this applies -- this kind of alludes to what Andy Drake
9 was saying earlier about the small companies. Many of
10 the small liquid operators we have seen -- I expect the
11 same thing will happen on the gas side -- maybe has one
12 or two engineers on staff. In a practical sense, you
13 know, how would a small company know what or when an
14 exposed anomaly should be provided back to the ILI
15 vendor?

16 What I heard earlier is you would prefer that
17 all information is provided back to the vendor; is that
18 what I heard? Is that correct? So you know the good
19 story as well as the bad story. All right.

20 All right. Well, if there are no other
21 questions, we will move on to the next panel. Oh,
22 okay. One more. Hold on. Another webcast question.
23 This is from Sun Core Energy.

24 "The members of the panel have indicated two-
25 way data sharing between the vendor and operator is

1 very important in developing an accurate ILI final
2 report and ultimately developing a high degree of
3 confidence in pipeline integrity. Some service
4 providers are very cooperative in integrating
5 verification and correlation data into the final
6 report. What is each panel member's respective company
7 philosophy on data sharing and how do you integrate?"

8 That must be data sharing between companies,
9 I assume; is that right?

10 PARTICIPANT: Company and vendor.

11 MR. HOIDAL: Oh, between company and vendor.

12 So, "What is each panel member's respective
13 company philosophy on data sharing, and how do you
14 integrate?"

15 Bryce, you look like you're ready to take
16 this on.

17 MR. BROWN: Well, basically, you know, what
18 Lisa said as far as the information that we get back
19 from you, the customer, we want to have the amount of
20 data required back to us on -- the good things, the bad
21 things. Again, we hear about the bad things. That is
22 what we hear about, and that is normal. But again, we
23 want to hear about the good things.

24 Again, if you want to understand performance
25 as a tool, then we have to have all the detailed

1 information possible so that we can then go back into
2 our data, into the process and procedures, look at
3 signals, look at how they were analyzed and so forth,
4 to then make a decision does something need to be
5 integrated or not.

6 Typically, the customer is going to let you
7 know right offhand what their expectations are, and
8 that goes to the relationship. They are out there
9 digging these things that we agreed on as a result of
10 feedback. Now, once the customer understands what
11 they're seeing in that information of measured, in-the-
12 ditch anomaly, then they're going to have a pretty good
13 idea of what they would like for us to do with it as
14 far as, please take it back, review it, go through your
15 procedure or your methodology, and then give us a
16 response.

17 So, at a minimum, we will -- if that's what
18 they want, then we will respond to it. As far as
19 recognizing a need to integrate it based on that review
20 process, then we will recognize that work with the
21 customer to decide on which type of methodology to take
22 to integrate that. We submit a report. We submit the
23 specifications. A finding in the particular area of
24 pipelines is not going to be meaningless facts based on
25 data quality. It is a good process.

1 But we are open to that. We do perform those
2 activities.

3 MR. HOIDAL: Thanks, Bryce.

4 Anybody want to add something?

5 MR. MAXFIELD: It's a unique relationship
6 between a pipeline operator and a service provider. I
7 mean, there's a contractual obligation, and you can
8 handle this feedback loop through that contract. It's
9 not very often dealt with, but it's a great place to
10 deal with it.

11 We react to providing the service and keeping
12 you happy so that we get paid. It's kind of a win-win
13 situation. Now, with these new recommended practices
14 coming down and if they somehow get incorporated into a
15 contractual obligation, then we're both obligated to
16 provide this feedback. But that's coming in the
17 future. In the past, it's kind of been hit and miss.

18 The newer the technology, the more we're
19 interested in receiving feedback to make sure that the
20 tools are meeting their specifications. As we get more
21 and more comfortable with this technology, then we as
22 service providers might not necessarily need as much
23 feedback.

24 But when we do get feedback, at least our
25 company's position is we will incorporate that data.

1 We will include that as notes in the final report. If
2 we get feedback back in time, we will put that right
3 into the final report so that there is some
4 documentation there about what happened in the field
5 and what was reported back to us.

6 DR. KARIYAWASAM: (Off mike) I'd like to add
7 one thought on that note. On the verification, we do
8 sometimes have to go and retest based on the
9 verification. But recently we have been... working
10 with the operator. They do the digs. They give us the
11 data. They...we go back and forth recategorizing two
12 to three...

13 MR. HOIDAL: So what I'm hearing is this kind
14 of feedback is important to the whole industry, not
15 just that specific operator.

16 DR. KARIYAWASAM: Right.

17 MR. HOIDAL: That's great. Any other
18 questions?

19 (No response)

20 MR. HOIDAL: All right. Well, let's get --
21 I'm sorry. Go ahead.

22 DR. JEGLIC: I'm Franci Jeglic. I am from
23 the National Energy Board, Canada. I would like that
24 each member of the panel outline the improvements and
25 innovations you are looking for.

1 MR. HOIDAL: Are you asking specifically to

2 --

3 DR. JEGLIC: I would like it if each of them
4 would take this.

5 MR. HOIDAL: Okay. Hardware or in the
6 analysis?

7 DR. JEGLIC: Whatever is their preference.

8 MR. HOIDAL: Okay. Why don't we just move
9 down the line here.

10 MR. MAXFIELD: I'll start. Our priority is,
11 there has been an explosion of pipeline inspection over
12 the last five years. So that puts more and more
13 demands on us as a company. With these new regulations
14 and recommended practices and training people,
15 qualified people, to look at this information, we're
16 going to be focusing a major effort on trying to
17 automate this process as much as possible, take the
18 human factor out of this and be more productive with
19 the trained people we have.

20 So I think as technology improves you will
21 see more and more automation take place.

22 MR. WILKIE: From BJ's perspective, I think
23 when we introduced ourselves into the market with our
24 product lines back originally in the late '80s and
25 early '90s with the drill pig and then, in the mid

1 '90s, with our vector tool, that is our market niche.

2 We are looking to be an advanced inspection
3 company, and we are always looking to improve
4 electronics, such as your computers and hand-held
5 devices are always getting better, faster, faster
6 sample rates. We are always continuously improving. I
7 guess that is from a technology side of it.

8 As well, improvements. We always look to
9 improve on the service side of it. We feel we are very
10 strongly a service company and look to continuously
11 improve our service and provide more to our clients.

12 MS. BARKDULL: Tuboscope feels the same. Our
13 goal would be to provide services to our clients that
14 are useful and allow them to help meet their
15 objectives. So pretty much the market is going to
16 dictate what we do.

17 In a general concept, we have key indicators
18 that have been around for a long time. Somebody sort
19 of asked, what is the percentage of good runs to bad
20 runs. You always want to make sure your first run
21 success rate is good. You want to make sure you have
22 timely turnarounds in your data analysis. So you are
23 constantly looking at ways to improve those types of
24 issues.

25 DR. KARIYAWASAM: (Off mike) GE, every year

1 we spend money...improvements in the pipeline. We have
2 many initiatives right now on improving. I think I
3 talked to a couple of them in my presentation.

4 On the...side, we are working on a tool which
5 is...We are also...feedback and confidence and
6 specification improvement...and another important one
7 is...damage assessments...

8 We are also, on the assessment side, the
9 other...assessment methodologies that are talked about
10 of data integration and providing more integrated
11 solutions...ILI for pre-inspection, post inspection,
12 and providing integrated solutions...performance and
13 screening methodologies, and that is to verify...So
14 these are some of the initiatives that we are working
15 on right now.

16 MR. BROWN: (Off mike) At Rosen, we have a
17 research facility of about 250-plus people that are
18 constantly working on improving current technologies.
19 We look at MFL. I mean, as I pointed out, advances in
20 electronics, such as cameras and sensors, is a...based
21 on...analysis and so forth, based on your needs. What
22 are your requirements, what are your demands.

23 Piggability situations, operating
24 situations...tools. That is something that we want to
25 see develop. We've developed...field MFL. That is the

1 latest technology that for us has now matured over the
2 last five years, since 2000, 2001. XGP, Extended
3 Geometry Inspection, is an enhancement of our current
4 geometry device.

5 The next release for us will be an EMAT for
6 SCC. And again, we need to understand together, or
7 with you, the industry, what appears to be critical. I
8 mean, is it mechanical damage? Is that the hot topic
9 which will be coming up in the next month or two? SCC,
10 critical mechanical damage. What is critical about SCC
11 that you need from us as an inspection company.

12 We need that type of feedback as well to
13 develop these tools. We have the opportunity with you
14 to work on these developments, and that is key to these
15 developments being put into practice, is having the
16 opportunity to put these into pipelines, run them
17 against real anomalies, and then show you what these
18 tools can do. I think we benefit from that.

19 But those are some of the initiatives. Any
20 time we can turn out a report quicker. We're looking
21 at data routines, processing, and so forth to turn
22 those out. So those are some of the highlights there.

23 MR. HOIDAL: Great. I see that somebody else
24 is standing back there.

25 AUDIENCE MEMBER: I'm Don (Name) with Exxon

1 Mobil Pipeline.

2 MR. HOIDAL: Hey, Don.

3 AUDIENCE MEMBER: (Off mike) I noticed when
4 the first notice of this meeting came out, there were
5 certain -- four or five case histories and so on where
6 lines have been pigged and then have failed very close
7 afterwards.

8 I'm not asking for whose method and whose
9 pipelines, but from the notes that I took on this
10 panel, I detect there are like three areas where we can
11 have, let's say, a column. First of all, you could
12 have an operator's pipeline not -- again, the
13 parameters: the measurements of the pipe, the speed of
14 the pig going through it, the cleanliness. That's all
15 one factor.

16 Basically, as you're running the tool, does
17 it actually...I heard some comments about the rotation
18 of the tool as it's going through the line.

19 And the third of which is, if that data
20 stayed in for analysis, for evaluation.

21 I'm just curious, from the whole group, of
22 those three major areas -- again, the pipeline
23 parameters you know before the run, running the tool
24 with its sensors, and then getting the data analysis
25 analyzed by your own people -- the problems we have

1 had, although they are small, can you tell us is there
2 one area or the other which is the majority of the
3 problems or can it evenly be split between them?

4 MR. HOIDAL: That's directed at everybody?

5 AUDIENCE MEMBER: Yes.

6 DR. KARIYAWASAM: (Off mike) I couldn't tell
7 you the strength of those because I don't have...but I
8 would like to add there are two other areas that we
9 have seen failures happening. One of them is because
10 it is not within the tool specs. Our...tool has very
11 good specs and is very good at...performance, but it
12 cannot see -- there are indications of what it can't
13 see in very big dents. Small dents it could be able to
14 see some cracks, but if it's a very...then we get...and
15 we do not...inside that dent...that is an example of a
16 characteristic being beyond the tool spec. We
17 cannot...that is all you can report.

18 The other error is the assessment. Sometimes
19 we give the sizing of the crack. We had a case where
20 we had even the sizes of the crack, and the assessment
21 done by a third party called out a life that was about
22 15 years. But when -- and it did fail. But what was
23 wrong with the assessment, because we went and assessed
24 it and found out it was a very shallow and long crack.

25 That certain methodology became very conservative...it

1 was a much smaller crack, and therefore it was the
2 assessment that led to the failure and not the sizing
3 of the crack.

4 MR. HOIDAL: Anybody else want to take a shot
5 at that? Go ahead, Bryce.

6 MR. BROWN: (Off mike) Just a general
7 comment. I think -- pointing to such incidents, I
8 think what does happen is that we learn how...from our
9 customers. As soon as we learn about these situations,
10 we go into a procedural mode to then go back and work
11 with the customer to hone in to the location in the
12 data where this exactly happened, and that's key. We
13 need to know as quick as possible. We would like to
14 have back exactly, you know, what footage from a dirt
15 well did this occur, what happened there, what's the
16 assessment from the failure site, and so forth.

17 We need to clear as much information as
18 possible about that type of situation in order to do an
19 effective review of the procedure or process that we go
20 through, and that's looking at data quality, that's
21 looking at signals recorded at that location, if any.

22 And then we work with the customer to get to
23 the bottom of it, to find out exactly at which point is
24 there anything to determine. Is it a detection issue
25 with a tool; was it the way the data was analyzed; was

1 it the way the data was treated. We want to get to the
2 bottom of it just like you, the operator, would like
3 to, as well as the regulator. The regulator comes and
4 looks at the data as well.

5 So that is a very detailed process that we go
6 through to try to get to the bottom of it. We need to
7 know that because, again, we don't want to see that
8 thing happen again. If it's detection limit issues,
9 that's one thing. But if it's something the tool
10 didn't see or something that we didn't analyze
11 properly, then we need to understand those things so we
12 can take a more advanced look.

13 Just a general comment.

14 MR. HOIDAL: Garrett, did you want to add
15 something?

16 MR. WILKIE: The only one thing I was going
17 to add. When that first announcement came out and it
18 had those five or six examples, right away, obviously,
19 you can't get a full appreciation for what's happened
20 because there's probably a 100-page failure
21 investigation report that is also behind the scenes and
22 all that.

23 But my consensus with most of those after
24 reading them was, well, that was the wrong tool for
25 that problem. So, if anything, from a high level I was

1 going to say, is there a gap. I think there's, maybe,
2 a gap on understanding what some of the technology can
3 do. I'd just go back to what I was talking about
4 previously.

5 AUDIENCE MEMBER: Good afternoon. Jeanette
6 Jones with (Name) Services. My first question is,
7 operators are extremely seeing problems where the pipe
8 wall thickness conditions and the tool is being hung up
9 on that. Are you doing any kind of research or tool
10 development to take into consideration improving that
11 so that if we didn't transition correctly during
12 construction that the tool won't be hung up?

13 The second question I have is, what kind of
14 tool development are you doing for the gap gatherers
15 where we have multi-diameter pipes who are
16 transitioning into this?

17 MR. HOIDAL: Lisa, you've been quiet for a
18 few seconds.

19 MS. BARKDULL: Actually, I'd prefer to defer
20 that question to our head of our Engineering
21 Department. I'll be honest; as far as the
22 transitioning between the wall thickness, I know
23 there's an issue with that. Typically, the customer
24 will come back and discuss it with our Engineering
25 Department and take a look at what the cause is and

1 maybe even do a root cause analysis, make adjustments
2 to the tool if necessary, or understand the limitations
3 of the tool, as far as the new technologies and
4 developments.

5 MR. HOIDAL: All right. So you could maybe
6 direct that person to your engineering manager.

7 Ken, do you have an answer for that?

8 MR. MAXFIELD: Dual diameter inspection is a
9 unique challenge depending on which technique you use,
10 especially when you're talking about MFL technology.
11 It's very hard. The smaller the diameter, the harder
12 it is to build a dual diameter tool that would
13 adequately saturate the pipe wall in the larger
14 diameter. So there's a physics problem you have to
15 overcome.

16 Ultrasonics might be a little easier, but you
17 have to put a lot of sensors into a small space as
18 well.

19 So we constantly struggle with trying to meet
20 your needs. The thing I always struggle with is
21 telling somebody no, but there is some pipelines there
22 is just no physical way to inspect it in one pass.
23 You'd like to get the engineer's hands who designed
24 that pipeline and slap them a time or two, but, you
25 know, what's done is done. We just have to go forward

1 and try and build tools that meet your needs. But
2 sometimes we're limited by the advancement of
3 electronics and physics.

4 MR. HOIDAL: Shahani?

5 DR. KARIYAWASAM: On the wall thickness
6 changes, I mean, you can tell how much of a change
7 there is. If there is an extreme change, then we would
8 recommend something like smart scanning or -- scan,
9 which are other tools that we are developing for
10 pipelines. We do have dual tools that we have
11 developed that they are using right now.

12 MR. BROWN: I think it's all in the
13 preparation. If you know that those things exist in
14 the pipeline, which sometimes you don't, you know, the
15 more information we know about those, you will see that
16 these tools can be modified just by changing out and
17 using a different type of cup.

18 But, yes, if the wall thickness change is too
19 significant, then that becomes an issue, unless it's
20 been beveled or hammered or something along those
21 lines.

22 Dual diameter inspection. We have
23 capabilities for doing them for that type of situation.

24 Low-pressure, low-flow brings us into equipment that
25 is self-propelled, crawling. High MFL tools, for

1 example, that crawl through a pipeline bidirectionally.
2 Or your unpiggable situations. As you know, there are
3 companies out there working on providing solutions. We
4 work closely with our customers in that arena, and
5 again, we -- that's how we build our business, is
6 looking at your needs and delivering a product that you
7 can use.

8 MR. HOIDAL: Thank you, everyone.

9 I think we had better get moving on to the
10 next panel. The next panel is going to be on Guidance
11 Provided by Inline Inspection Standards. It is going
12 to be moderated by Richard Sanders, who is director of
13 our Training and Qualifications Division.

14 A few questions have come in during the
15 course of this, but we will save them 'til the end.

16 I think we ought to all thank the five
17 presenters here, though.

18 (Applause)

19 MR. HOIDAL: Here's Richard Sanders.

20 Panel: Guidance Provided by Inline Inspection Standards

21 Richard Sanders, Moderator

22 (PowerPoint presentation)

23 MR. SANDERS: All right. Let's go ahead,
24 since we're already behind. We'll get this thing
25 cranked off and see if we can't get through some of

1 these standards so that if there are any questions
2 toward the end we will have an opportunity to ask them.

3 I'm going to be covering the OQ, operator
4 qualification, and some comments on the ASME B31.Q
5 area. Certainly I've already been asked can we make
6 comments at the end of your presentation, so I'm afraid
7 some of you think I'm going to say something wrong.

8 Qualification of pipeline personnel. Is
9 there anybody in this room that has not heard of OQ?

10 (Laughter)

11 MR. SANDERS: Don't show me your hand.

12 (Laughter)

13 MR. SANDERS: OQ.1, OQ.2, B31.Q, and on and
14 on it goes. But we hope we're reaching a point where
15 it's going to be stagnant for a few years.

16 Looking at the history, again I think
17 everybody has heard this time and time again. But if
18 you look at the history of the industry all the way
19 back to 1968, when we got started in this, we've always
20 had some general requirements for training. It's not
21 like we're just now getting into the ball game. So
22 don't lose that perspective.

23 The other thing I want to mention as I go
24 through this; for those of you that have good, robust
25 OQ programs, any of the changes that may be coming down

1 the tube are not going to affect you that much, if any.

2 So keep that in mind.

3 Also, looking at some of the reasons that
4 precipitated us to get into this requirement is the
5 1987 NTSB recommendations for training. In '92 we had
6 legislature telling us to get into the game. The '94
7 proposed rule on training, which had everybody upset.
8 I don't know about your background, but from adult
9 education areas, if you look at the training
10 requirements, training is a means to an end. We're
11 trying to get qualified people, so this training in
12 itself, where I come from, is not going to get the job
13 done.

14 I know quite often we use training and
15 qualification side by side, together. But when you
16 start looking at it from an educational standpoint, it
17 does have a different meaning, so keep that in mind. A
18 lot of educational type folks that are in our industry
19 got concerned when we started talking about repetitive
20 training and not using the term "qualification."

21 Again, NTSB had additional issues with
22 training and testing that, you will see here in a
23 little bit, that we took care of here just recently
24 with a mini rule.

25 Of course, in '99 the final rule came out.

1 It established Part 192, 800 series, and 195, 500
2 series.

3 Need for additional work, or at least
4 perceived needs. Maybe some of the things that we're
5 going to talk about are already taken care of, and
6 you'll have an opportunity to comment on that a little
7 bit later on.

8 Development of protocols. We feel like, from
9 an inspection standpoint, we've gotten the protocol
10 questions taken care of. We think that we have
11 answered the need to NTSB with the mini rule. We
12 addressed the word "training" where appropriate.
13 Additional requirements that NTSB felt like as far as
14 the reevaluation intervals that needed to be addressed
15 have been done.

16 Congress gave us a mandate that we've got to
17 generate a report here very shortly on our efforts in
18 the OQ. Public meetings were held, and we identified
19 13 areas that we could not reach consensus on. In
20 doing so, it was decided that we thought the best
21 process to go forward with this was to look at a
22 standard. Thus, ASME B31.Q was established to look at
23 and develop a detailed standard that was all-inclusive.

24 Keep that in mind as we go forward talking about
25 B31.Q.

1 Qualification program in place in '99. Many
2 of you, or all of you, should be well into your OQ
3 programs. The direct final rule, as indicated
4 previously, hopefully, at least in my expectations, has
5 met NTSB's needs. I have not heard anything other than
6 the fact that it was acceptable.

7 B31.Q, though, is likely not to be completed
8 before next fiscal year. A problem has arisen that
9 Stacey talked about earlier this morning. There are
10 questions coming about. We're in the time cycle to
11 looking at reauthorization, and one of the commitments
12 that we had on the table is that we'd have OQ taken
13 care of. We anticipated that the ASME B31.Q standard
14 would be passed and we'd be moving along to reference
15 in an update in the regulation that standard.

16 There were a few negatives in the B31.Q
17 standard. The group has gotten together and worked
18 through that and I believe has reached consensus with
19 those negative votes and are now ready to go forward.
20 But still, it's probably going to be into the first
21 part of next year before this hits the street.

22 So, depending on the reauthorization issues
23 that we've got within OPS and the time cycle that we've
24 got to go through with B31.Q, there may be some data
25 put out for you to start looking at prior to that given

1 time. That's not to say that we won't eventually go
2 back, reference the B31.Q standard, and incorporate it
3 into the regulations as required.

4 I mentioned there were 13 areas. Just to
5 show you the work that has gone on in the ASME B31.Q
6 area. There were 13 areas that we referenced that we
7 were having problems meeting consensus on, and out of
8 those, I've listed them so that you can look at and get
9 the information as far as the B31.Q is concerned.

10 In red to the right, you will see the chapter
11 that addresses that particular 13th issue that came up.

12 I'll just click through these for the time, but again,
13 each area is addressed except for the -- one of the
14 problems that we were going through and addressing some
15 of these was the noteworthy practices.

16 This one in particular we had discussions and
17 it was determined that this was a regulatory issue and,
18 if needed, it should be addressed by OPS/PHMSA when the
19 time was appropriate. So out of the 13, all were
20 addressed through the standard except for that
21 particular one.

22 Let me propose some questions to you.
23 Whether you want to stand up and give me your response
24 at the mikes or whether you want to write on the three-
25 by-five cards or whether you want to send in your

1 information on an e-mail or what have you, let me
2 propose some questions that we have been asked through
3 the reg writers in headquarters.

4 When is training appropriate for
5 qualification? Right now we're saying you've got to
6 have training where appropriate. And certainly, if it
7 was a new employee coming in for a given covered task,
8 training would be something you should be looking at.
9 But what are the other areas that we need to be
10 considering? What will you as an operator be
11 considering? What will you as a vendor recommend that
12 the operator require?

13 How does an operator provide sufficient
14 objectivity and evaluation of knowledge, skills, and
15 ability. When we look at qualification, just a written
16 test may not get the job done. There are skills and
17 abilities that need to be tested, time cycles for
18 accomplishing of a task that need to be looked at. How
19 are we going to establish what is or is not acceptable.

20 Assuming some flexibility in the
21 requalification intervals, should there be a difference
22 based on infrequency and critical work, such as
23 abnormal operating conditions?

24 Also, there is a note, presently -- but I
25 think we're going to see here shortly as we get other

1 standard presentations where this question may be
2 answered. Tasks that impact integrity of pipelines
3 but are performed off the pipeline, such as pig log
4 inspections.

5 Presently, under 192 and 195, if you go to
6 the definitions section, there is an area that talks
7 about pipeline facility. That definition would be a
8 limiting factor in my opinion for OQ in that it limits
9 it to the pipeline right of way, the appurtenance of
10 the pipeline, et cetera. So there would not be
11 justification within the regulation presently, unless
12 we reference some of these new standards, to go outside
13 of that area.

14 So, with that said, let me give you the
15 opportunity to ask any quick questions that you might
16 have before we move on to the next standard issue.
17 Anybody got a question they want to propose at this
18 time? Going once, going twice, sold.

19 AUDIENCE MEMBER: I have a question.

20 MR. SANDERS: I knew it had to come.

21 AUDIENCE MEMBER: This question is also a
22 comment. It is true OPS is modifying its OQ
23 regulations to meet the Pipeline Safety Improvement Act
24 recommendation in the draft final rule to require
25 operator programs to satisfy training -- attend

1 training as appropriate and prescribe defensible
2 reevaluation intervals for qualification. I guess the
3 B31.Q standard, when it's final, will provide more
4 detail on this.

5 The companies I represent in the liquid
6 industry had some problems with the draft standard that
7 existed at an earlier time, primarily with the
8 prescriptiveness of the standard, not the requirements
9 that were addressed: training, evaluation. We
10 understand that Congress has decreed that and we're of
11 course going to comply with that.

12 But we felt that a performance-based approach
13 was really preferable and that was the key to ensuring
14 improvement over time and that we incorporate new
15 methods as we went along and that the problem of when
16 to set requirements would focus on results, not on how
17 to achieve results.

18 I understand that the new version of this
19 guidance effort that is available to some folks
20 addresses these problems in a positive way, so we will
21 be looking at that.

22 But, however, as you indicated, the final has
23 to be signed off, all the I's dotted and T's crossed.
24 Performance standards may not be available in a timely
25 way for consideration in the rulemaking prior to

1 congressional reauthorization. We hope it is, but if
2 it isn't, I guess our observation is that we think it
3 would be possible to extract from the standard any type
4 of performance-based training and reevaluation language
5 that could be adopted or proposed to be adopted into
6 the new regulations in a timely way so that we would
7 have a rulemaking in progress at least
8 contemporaneously with the reauthorization process.

9 In any event, we will work with INGAA on a
10 schedule that works for you all and works for industry.

11 MR. SANDERS: Thanks, Ben.

12 Anybody else got a comment?

13 (No response)

14 MR. SANDERS: All right. Moving along so we
15 can try to make up some time, our next speaker, Pam
16 Moreno, is with Tuboscope, has been with them some 21
17 years. She has worked in the analysis area, in sales,
18 and in management.

19 Please welcome Pam.

20 Overview of ILI Standards and ILIA's Contribution to
21 Standards Development

22 Pam Moreno

23 (PowerPoint presentation)

24 MS. MORENO: Get all my operational devices
25 working here.

1 This is a little different hat for me today.
2 I'm here to speak to you on the Inline Inspection
3 Association. Most of you that I've been working with
4 through the years have seen me talk about all the great
5 things that Tuboscope can and does on a daily basis,
6 and so this is a little different. So, a little
7 different hat.

8 But we've had a lot of talk already about
9 standards, and what I want to speak with you about is
10 the Inline Inspection Association and how they've been
11 involved in standards generation. There have been some
12 questions about whether the ILIA is supportive of the
13 standards that have been coming out in various levels
14 of completion here through NACE, ASNT, and API, and I
15 just wanted to give you a feel for our involvement in
16 that and so forth, and some of the other things we're
17 doing.

18 With respect to that, a few folks have
19 reflected back to the mid '80s and the earlier days of
20 pigging and so forth. I was trying to think of what
21 the operator qualifications for a data analyst must
22 have looked like back then. It was probably something
23 like strong wrists, because those 400-foot logs took a
24 long time to get to the other end of. And probably
25 something about holding a grade one, grade two, and

1 grade three stamp in your hand all at once as you went
2 through grading the joints of pipes.

3 So we've come a long way. Don't -- we
4 shouldn't sell ourselves short or think that because
5 we're having a meeting like this today to talk about
6 some of the concerns that we haven't come a long way in
7 what we do and how we accomplish it.

8 This pictorial, this is sort of the whirlwind
9 of regulations for the past couple of years. There has
10 been a lot of --

11 (Laughter)

12 MS. MORENO: -- standards involvement going
13 on. It's been hard to get your hands around it. I
14 know that operator qualifications is difficult to get
15 your hands around sometimes, as well will be 1163 and
16 some of the others. It's actually Hurricane Ivan in
17 the Gulf last September or so. I'm an avid
18 fisherwoman, so I kind of keep an eye on that and see
19 how the water looks.

20 I'm going to talk a little bit about the
21 introduction of the ILIA Association. We were founded
22 in April of 2002. There were five charter members at
23 the time that got together and decided that maybe if we
24 worked together in some sort of a format that we could
25 help regulations or recommended practices come out in a

1 more meaningful way for our operators and more
2 meaningful for the inline inspection companies
3 themselves.

4 And so that was the beginnings of it. You
5 see there the website.

6 The founding members were BJ Services, GE --
7 back then PII -- and Rosen, TDW, and of course,
8 Tuboscope. Our newest members that have just signed on
9 in the last couple of years here have been CPIG, NDT
10 Systems and Services, and Weatherford.

11 So it's not a big organization. It's not a
12 huge meeting; it's a pretty small meeting. I will tell
13 you we meet basically quarterly to talk about issues.
14 We usually get involved in certain types of classes and
15 try to help train OPS inspectors or other avenues that
16 need training. And so we welcome anybody that wants to
17 bring or address an issue at one of our quarterly
18 meetings to come.

19 We usually meet in the Galleria area, and
20 it's quite easy to get to, at least for those of you
21 here in Houston, or to call in and address an issue
22 that you might want us to look at, like standardized --
23 I call them Lionel Log survey questionnaires, but I
24 guess survey questionnaires. That has been a common
25 theme. Can we have a standardized one that we all use,

1 and I think they did come out with one in 1163 to
2 address that issue.

3 In our beginnings, our primary focus was to
4 support the pipeline industry, to enhance pipeline
5 integrity. We wanted to raise the awareness of the ILI
6 industry, of all the products and services we offer,
7 the new things, the old things, the capabilities, the
8 limitations, best practices, and so forth.

9 We also wanted a legitimate format with which
10 we could liaise with industry associations and
11 regulatory bodies. In other words, when any of us
12 individually went to a regulatory body or an industry
13 association, it was all about Tuboscope, and we needed
14 to get in a forum where we could speak and it wasn't so
15 specific to one particular service provider, as we call
16 them; vendors as some of you call them.

17 So that's how we moved forward. We began
18 participating in the development of standards very
19 quickly, best practices, and we also wanted to raise
20 awareness of R & D initiatives as well. So there we
21 moved forward.

22 I will say on behalf of the ILI companies,
23 and I hope the rest of them agree. I heard a quote
24 earlier in the day, and as companies, we're all
25 emphasizing communication so strongly. And this

1 morning -- and it was with regards to a different
2 subject -- Peter Lidiak's presentation, he said, we do
3 expect to be questioned, informed, educated, and even
4 acted against when we don't perform adequately.

5 I think that's the most serious statement we
6 have to make from the ILIA companies. We want the
7 feedback. We expect the feedback. We need it. We
8 want to continue to improve. We need operators' help
9 on that.

10 With regards to the standards writing and
11 involvement, there were a couple of industry drivers
12 for that. One was, as we tried to become more and more
13 efficient and as new technologies and processes were
14 coming on board to improve data accuracy and
15 reliability, we found that, you know, of course, that
16 introduced new types of errors or new types of issues
17 to our groups.

18 Also, the competitiveness that came across
19 the market as the regulatory involvement became
20 stronger created some new market forces, some new --
21 old players in various stages of development in their R
22 & D processes with regards to equipment and with
23 regards to analysis systems. And so those were
24 important driving forces.

25 And within the U.S. specifically, as I said,

1 the new regulations have increased the demand for our
2 products and services a great deal. The market demand
3 issues became capital equipment, having enough of it,
4 being able to run enough pigs to keep up with what was
5 going on. Right behind that became trained personnel
6 to do all those things. And then robust systems, and
7 of course, the quality assurance side of things at the
8 tail end of the process there.

9 Clarity and commitment to the future is
10 required to manage growth. What I mean by that is, we
11 definitely need to understand where the operators want
12 us to go and how we need to move forward to do the
13 things you want us to do.

14 And then, the main topic here, the
15 recommended practices and standards are being published
16 as we speak.

17 What is required in a standard. We found
18 that a lot of the operators were looking for some
19 transparency among providers. In other words, help us
20 use your data more easily by providing it in formats
21 that are easier to integrate into our other systems and
22 so forth. We began immediately to engage in the
23 generation of consensus among the providers and the
24 operators so that we could come together on what
25 standards would look like.

1 We wanted to provide a platform to improve
2 and maintain quality in a growth market, and we wanted
3 to respond to all of the industry expectations that
4 very quickly were coming on board.

5 In a lot of these slides you will see the
6 commonality of the operator, the regulator, and the
7 service providers coming together.

8 The first thing the ILIA did with regards to
9 standards was to start trying to figure out, how do we
10 write a recommended practice. How do we do this. We
11 got together some really good folks from the different
12 inline inspection companies, and they began the process
13 of writing a recommended practice. This was deemed
14 ILIA RP 5302 Draft for the date that was it was
15 originally drafted. It never became an actual standard
16 in itself because what we found was being a standards
17 organization is quite an undertaking, as NACE and ASNT
18 and API could tell you more about.

19 So we merged -- went on forward with it
20 anyway and started writing a recommended practice. We
21 figured, we'll get it as far along as we can and then
22 we'll find out who we can hand this off to. So we
23 wrote basically a 62-page document. What you see here
24 is the table of contents from that document and some of
25 the things that were encompassed in it.

1 This is the first page and the second page,
2 and you can see we go into measurement analysis
3 improvement, management responsibilities, personnel
4 resource management, in other words operator
5 qualifications, and really, a very, very detailed
6 document.

7 We then, at completion of that document,
8 started working with several groups to try to help
9 continue along the standards-writing. By that time, we
10 were able to get in together with ASNT and with API.
11 The NACE standard had pretty much been completed at
12 that point, the initial version of it. But we got
13 together with the ASNT and API and started a more wide-
14 ranged effort at doing these standards.

15 And so when people ask do we support the
16 standards, are we involved, much of what we've written
17 are in the standards. So we're very involved, we're
18 very supportive, and it is a place that we want to
19 continue to move forward in.

20 In summary, I have to give you my obligatory
21 pig picture because I can't do a whole presentation
22 without a pig, without some data, or without some pipe.

23 So this is what we're all talking about. We're
24 talking about pulling all that together and having
25 standards that make sure that that happens in the

1 manner that it's supposed to happen.

2 Those are -- again, the participation has
3 been and will continue to be threefold. We need all
4 those groups working together. They have worked
5 together very, very well. We want that message out
6 there. We've worked together very, very well to
7 establish these standards. None of it has happened in
8 a vacuum. It's been a very large effort. I know most
9 of the operators know that, but I just want to make
10 sure that everyone knows that.

11 The regulations have and will continue to
12 increase the demand for more ILI-related products and
13 services; we know that. We've seen the idea of turnkey
14 work take off like crazy this past couple of years.
15 We're no longer just running a pig, and none of the ILI
16 vendors are just running a pig. Everything is starting
17 from the very basics all the way through integrity
18 management, risk analysis, fitness for purpose, and all
19 the way through.

20 We have a significant time investment in
21 writing these standards, and in refining these
22 standards and we will continue to be involved. We need
23 balanced and cooperative standards, standards that will
24 allow companies to operate their pipelines and meet the
25 standards and still make a profit and go forward from

1 there.

2 Our future challenges. To increase the pace
3 of acceptance and implementation of the standards I
4 think is a huge challenge for us. Sometimes these
5 standards come out and it takes a lot of time before
6 they're recognized by regulatory agencies and so forth,
7 or given credence, and we need that to happen faster.
8 I'd be willing to say that the very -- just because of
9 this meeting happening, we got 1163 out about four days
10 ago. I think that might have been a little bit of a
11 push because of this meeting coming on, and I think
12 that's awesome.

13 We want to utilize the standards in a way
14 that is effective, consistent, auditable, and
15 efficient. We need cooperative efforts, as I said
16 before, to improve and update the standards as they
17 mature.

18 We need to evaluate and adjust the standards
19 in a way that allows operators to make sound integrity
20 decisions to maximize the benefit versus cost ratio of
21 their maintenance dollars. We don't need folks
22 spending money in the wrong places because a standard
23 has been poorly written or hasn't been revised in a
24 timely manner. We need to make sure that dollars are
25 spent smartly, and I'm sure I'm singing to the choir on

1 that one.

2 With that, I'll pass it on to the others.

3 (Applause)

4 MR. SANDERS: Has anybody got a quick
5 question for Pam before we move on to the next speaker?

6 (No response)

7 MR. SANDERS: All right. At this time, I'd
8 like to introduce Dave Culbertson. Dave has got some
9 36 years with El Paso. I've known Dave for a number of
10 years. Matter of fact, I won't tell you all the
11 stories that I know about Dave, but in introducing Dave
12 today, I couldn't resist reading one of the areas
13 that's on his resume.

14 Dave is a past president for the American
15 Society for Nondestructive Testing, an ASNT fellow,
16 ASNT professional level three in RT, UT, MT, and PT.
17 Now, don't give me a hard time about acronyms in the
18 federal government anymore.

19 (Laughter)

20 MR. SANDERS: So, at this time, I'd like to
21 welcome Dave Culbertson.

22 (Applause)

23 Genesis of ASNT and API Standards and Details of ASNT
24 ILI-PQ Standard, "ILI Personnel Qualification"

25 David Culbertson

1 (PowerPoint presentation)

2 MR. CULBERTSON: Thank you, Richard.

3 Before I address the ASNT standard, and as
4 Pam eloquently put it together as far as the
5 cooperation from a number of people to end up
6 developing these particular standards, I'll give you
7 sort of a brief history of the development of how we
8 sort of got here today.

9 I see Bernie over here smiling. He was one
10 of the fire starters for this.

11 But back in November of 2001 -- so everyone
12 remembers 9/11, so it was just a couple of months after
13 this horrific incident -- we got together here in
14 Houston as an ad hoc group just made up of pipeline
15 operators both from the liquid and gas side. We had
16 the ILI service providers, representatives from the
17 Office of Pipeline Safety, we had independent
18 consultants, and research laboratories. They actually
19 met at my office up at the Intercontinental Airport,
20 which was convenient for those coming in from out of
21 town because they didn't have to go very far.

22 It was out of that particular meeting that we
23 looked at the standards development process, what would
24 it take to put together standards, what would we need
25 for inline inspection. From that, if I can figure out

1 which way we go, Richard, with the pointer here.

2 MR. SANDERS: There's the pointer.

3 MR. CULBERTSON: No, I mean the slide.

4 (Pause)

5 MR. CULBERTSON: >From that particular
6 meeting we came out with a mission, and that ad hoc
7 group worked out the mission to develop a nationally
8 recognized consensus standard and/or recommended
9 practices that will provide the pipeline industry,
10 liquid and gas, with qualified personnel and systems
11 that perform inline inspection activities, including
12 the acquisition and analysis of the data. So that was
13 the overall put-together of our mission to go about how
14 to do that.

15 The ILI Oversight Committee was then put
16 together, and its responsibility was for coordinating
17 activities and the outputs of the three different
18 standards that we've been talking about today, that
19 being the one on personnel qualification from ASNT, the
20 recommended practice from NACE, and the systems
21 qualification from API.

22 The American Society for Nondestructive
23 Testing has been developing American national standards
24 in the area of nondestructive testing personnel
25 qualification and certification since 1987. ASNT is

1 accredited by the American National Standards
2 Institute, ANSI, as a standards-developing
3 organization.

4 ASNT's Standards Development Committee within
5 ASNT -- again, we use these acronyms, Richard -- SDC,
6 it was established by the ASNT board of directors to
7 develop and maintain ASNT's national standards. The
8 Standards Development Committee and its subcommittees
9 handle ASNT standards activities.

10 Some of the standards that ASNT has, as we
11 see here. The one, of course, that we're interested in
12 today is the one at the bottom. The following
13 standards are either presently published or they're in
14 the process of being in development.

15 As Pam mentioned, it was sort of timely that
16 these various standards sort of come out and are being
17 published around the same time. The NACE recommended
18 practice has been out for some time and has been
19 available. This whole process has taken a couple
20 years, and it's putting together the initial draft for
21 a particular standard. Then you've got to go through
22 the standards approval process.

23 Anyone that understands this industry
24 consensus process, it's not something that's just done
25 overnight. Not only does it have to get approved by

1 the initial committee that's developing this, it has to
2 go back to the regular standards body. That one has to
3 approve it. Then the ANSI has to publish that out to
4 the industry for comments. If any comments come back,
5 then those comments have to be addressed, positive or
6 negative. Send it back out again. If there are any
7 changes, get published again, and go through this same
8 process over and over.

9 So even though we started in November of
10 2001, we sit here today in August of 2005 and we now
11 have the two standards and the recommended practice out
12 for public consumption.

13 Okay. What's the scope of the ASNT ILI-PQ
14 2005 standard. The ILI Personnel Qualification
15 Standard was drafted in just a little over a two-year
16 time period by the ILI Personnel Qualification
17 Subcommittee, which was a subcommittee of the ASNT's
18 Standard Development Committee.

19 Following an industry consensus process on
20 the standards developing -- development, the
21 composition of the ILI Personnel Qualifications
22 Subcommittee that wrote the ASNT standard was again
23 made up of members from a cross section of groups, from
24 pipeline operators, ILI service vendors, regulators,
25 consultants, research organizations, and third party

1 consultants.

2 The ASNT standards specify the qualification
3 and certification of ILI personnel, and it says that
4 that shall be the responsibility of the employer. So
5 this isn't saying that ASNT is going to go out there
6 and certify -- qualify and certify these personnel.
7 ASNT has developed the standard for industry to follow
8 and it will be the responsibility of the employer of
9 the ILI personnel.

10 Within the standard, it says that the
11 employer will establish a written practice. The
12 written practice is for the control and administration
13 of ILI training, examination, and certification. So
14 Richard spoke just a while ago about training, what
15 does that mean, and so on. What the standard is saying
16 is the ILI vendor shall tell us what it's going to be
17 by placing that in their particular written practice.

18 The written practice is a documented
19 procedure developed by the employer that details the
20 requirements for the qualifications of their personnel.

21 The employer's written practice shall be
22 reviewed and approved by designated management
23 personnel. So it's not just some engineers go over
24 here and write some nice gobbledy-gook words and say
25 we're going to end up doing it. Management has to buy

1 into this and support the activity.

2 The employer shall maintain the written
3 practice on file and it shall be made available for
4 auditing. So be it the regulators, be it the operators
5 that want to come in and audit the particular program,
6 it has to be maintained on file and made readily
7 available to those.

8 The employer's written practice shall
9 describe the responsibilities for each level of ILI
10 personnel. There are basically three levels. The
11 standard talks about four levels. There is a trainee,
12 which is basically someone who is starting out and has
13 to gain experience and training in the needed
14 technology to become certified as either a level one, a
15 level two, or a level three.

16 So those of you that are familiar with the
17 NDT certifications, it follows along that same
18 guidelines. A level one has less experience than a
19 level two. A level two has more experience and is
20 probably the worker bee of the particular group. Then
21 we have the level three, someone who has a lot of
22 experience in the technology, is capable of doing
23 training, writing procedures, and performing the
24 examinations of the level one and level two personnel.

25 The experience is cumulative. Training hours

1 are cumulative. Training shall be outlined in the
2 employer's written practice. Experience can be shared
3 between ILI technologies. So it doesn't necessarily
4 say that, oh, well, if I start with a new technology,
5 do I have to start all over again. No, you put the two
6 together and that counts as part of that.

7 The standard presently identifies seven
8 technologies. There is geometry, axial magnetic flux,
9 transverse magnetic flux, ultrasonic compression wave,
10 ultrasonic sheer wave, EMAT, and mapping.

11 The standard defines two categories of ILI
12 personnel qualification in its present format. That
13 is, the ILI tool operator -- so again, there are three
14 certification categories, level one, level two, and
15 level three, for tool operator -- and ILI data analyst,
16 level one, level two, and level three.

17 The employer shall be responsible for the
18 administration and grading of examinations specified
19 within the written practice. Now, they may delegate
20 that out to a third party to perform some of those
21 particular responsibilities of administering the exams
22 and grading it, but the written practice shall specify
23 how that's done.

24 The employer's examination shall address the
25 basic principles of the applicable tasks to be

1 performed and identify abnormal conditions. So, what
2 happens when we come up with something that just didn't
3 go right, okay? You need to address that in how you go
4 about putting together your particular examination.

5 Certification shall be based on the
6 satisfactory completion of the following qualification
7 requirements as defined in the employer's written
8 practice: education, training, experience, and then
9 examination. So it takes those four pieces in order to
10 become certified.

11 So, again, there is a difference between
12 qualification and certification. Qualification is
13 identifying what attributes do I have to achieve to get
14 to the point of certification. Certification says that
15 all four of these attributes have been completed
16 successfully.

17 Once certified, there's a recertification
18 period identified in the ASNT standard, and it
19 basically specifies that every three years this
20 individual shall be recertified. And it will specify
21 in there and give guidance to the employer how they
22 want to identify this. This could be by reexamination
23 in all of the areas, could be reexaminations in some
24 critical areas, or combinations of those factors.

25 Okay. Termination of certification. Because

1 the way the standard is put together and it says that
2 the employer shall develop this written practice, it's
3 the employer's certification. So once an individual
4 has terminated employment with that employer, their
5 certification is null and void.

6 Okay. Now, there is a way of going back and
7 getting recertified with a new employer, and it doesn't
8 necessarily mean, oh, I've got to start from ground
9 zero and start all over again with getting hours of
10 classroom training and experience. No. As long as
11 that's documented, you can carry on work and go to a
12 new employer and the new employer's written practice
13 will then address how they can go about recertifying
14 personnel that have been terminated from another
15 employer.

16 Okay. What are some of the future directions
17 that we see in the ILI-PQ standard. Some of those are
18 looking at, do we need to expand the categories beyond
19 the two that we already have: the tool operator and
20 the data analyst.

21 Another criteria that has come up is auditing
22 criteria. Some people have asked as we developed this,
23 well, Dave, who is going to qualify or certify the
24 third party consultants that are going to come in and
25 audit these particular programs?

1 There already are some guidelines out there
2 in the industries in the ASTM standards for how you go
3 about auditing NDT service laboratories. So what we
4 are looking at is possibly the next generation of this
5 particular standard, is that we would write some
6 criteria for auditing ILI qualification and
7 certification criteria within the particular written
8 practice.

9 Okay. This is the new standard. As with the
10 API, I have been coordinating closely with the ASNT
11 headquarters about when is this document coming out.
12 It was approved back in May of this year, but it just
13 hasn't hit the particular newsstand. I was sent a
14 proof copy of this particular -- not a proof copy but a
15 sample copy of this particular document, and ASNT has
16 assured me that they're on the bookshelves and they're
17 ready to be ordered.

18 So if anyone is interested in that, I'm going
19 to leave some pamphlets and folders up here for you to
20 pick up if you want to end up ordering that document.

21 Another quick way -- you don't have to fill
22 out the particular document. You can go to
23 www.asnt.org. That's their website. And go in and
24 actually order this particular standard from them.

25 There are two pricing schemes on it. One is,

1 if you're an ASNT member, you get a reduced rate
2 compared to a non-member.

3 And that's all I have.

4 (Applause)

5 MR. SANDERS: Has anybody got any questions
6 for Dave; short questions?

7 (No response)

8 MR. SANDERS: Okay. Our next presenter,
9 Linda Goldberg, is with NACE. Linda is the director of
10 Technical Activities at NACE International, where she
11 manages the development of standards and technical
12 committee reports and other activities of the NACE
13 Technical Committee.

14 So, at this time, let me present Linda.

15 NACE State of the Art ILI Report and RP0102-2002
16 "Recommended Practice: Inline Inspection of Pipelines"

17 Linda Goldberg

18 (PowerPoint presentation)

19 MS. GOLDBERG: Thank you.

20 Okay. As Richard said, I'd like to provide
21 you some information about NACE publications and other
22 activities on inline inspection. As some of the other
23 speakers have said, ILI technology has been around for
24 a lot of years, but it wasn't until the 1990s that a
25 committee was formed at NACE to write a technical

1 committee report. They published the report, which is
2 NACE Publication 35-100, in 2000.

3 If you know any -- if you'd like to know
4 about the numbering scheme, this publication was done
5 by Specific Technology Group 35. It was the first
6 report they published in 2000. So that's how you can
7 tell when a report was published and what committee it
8 was published by.

9 At the same time, another committee was
10 working on a standard, and later a standard was
11 published.

12 This report is pretty comprehensive. It
13 covers all the different types of tools, the new
14 technologies and existing technologies. And during the
15 development of this report, there was a lot of input
16 from other groups. I know that our committee met with
17 an API committee and probably other committees, because
18 their objective was to get the most and best
19 information they could from across the industry to put
20 into the report.

21 This is a list of the sections in the report.
22 As you can see, it covers the different kinds of tools
23 and how you analyze what tool to use and how you manage
24 the data.

25 There's a very long reference list. I think

1 it's three or four pages, and it's divided according to
2 topic, for those who want to look up more information
3 about inline inspection. It also has several
4 appendices. Some people may not be familiar with all
5 of the terminology used in the inline inspection
6 industry, so there's a glossary of terms and a list of
7 acronyms and abbreviations and specifications that are
8 used.

9 The last couple of things that are in the
10 appendices are items that we wouldn't normally put in a
11 technical committee report because they are procedures.

12 So they are put in appendices as examples for people
13 to use if they would like to.

14 The reason for that is that in NACE technical
15 committee reports we don't allow recommendations or
16 requirements. So if a committee wants to include some
17 of those or a typical procedure, which they would like
18 to do a lot of times, we put that in an appendix. The
19 reports just give results of research or results of a
20 survey, the state of the art of a particular
21 technology. They're informational reports. We leave
22 it to the standards to give requirements.

23 A lot of times when a committee is working on
24 a report, that information in the report will lead to a
25 standard. Usually the report gets a lot of input.

1 There's a lot of research done, and it may be very
2 comprehensive. A committee will frequently decide to
3 develop a report first for that reason, and then
4 they'll develop a standard.

5 That's kind of what happened with this report
6 and standard. There was another task group, Task Group
7 212, that developed the standard that you've heard
8 mentioned several times today, RP0102-2002, Inline
9 Inspection of Pipelines. This was published in 2002,
10 and it gives the process for the ILI and the data
11 management and data analysis. It's for carbon steel
12 pipeline systems transporting all of these various
13 gases and liquids.

14 This is a list of the sections in RP0102. It
15 gives definitions and data analysis requirements and
16 all of these other things that you can see. It also
17 has a short list of references, not like the report.
18 If you really want the long list of references, you'll
19 need to go to the report.

20 It includes a sample pipeline inspection
21 questionnaire that you can use. You can adapt it or
22 use it as it is. It has a good figure in it. There is
23 also a table that lists the ILI tools and their various
24 applications.

25 NACE is an American National Standards

1 Institute-accredited developer, like most of the other
2 organizations that are here today. One thing about the
3 ANSI process is that it's an open and transparent
4 process, which means that we have to solicit input from
5 all interested parties. It's sort of like OPS in the
6 public meetings. They're trying to get everyone's
7 input so that they can produce the best regulations.
8 Well, ANSI standards developers try to get input from
9 interested and affected parties so that they can
10 produce the best standards.

11 We advertise ballots that are going out,
12 standards that are being developed. If you check the
13 NACE website, we'll have a list of ballots that are
14 going out soon. Even if you're not a NACE member or if
15 you're not a member of the committee that's developing
16 that particular standard, you can call and request a
17 ballot and vote on that ballot. You can also go to the
18 meetings. All of the meetings are open.

19 If you're a non-member, you can set up a
20 password and vote online using the online balloting
21 system. There's a way for members to vote using their
22 member number, but you can also do that if you're a
23 non-member, and the committee considers all of the
24 comments and votes that they receive.

25 Sometimes other organizations will get

1 together and send one response from that organization,
2 which is one way that it's done. But also, if you're
3 an individual member of another organization, you can
4 register to vote and send in your vote, also.

5 Now, the ANSI standards and other standards
6 -- this was already part of NACE's procedures, but
7 standards are required to be revised or reaffirmed
8 every five years, which means that the committee has to
9 look at the standard and decide whether they think that
10 the technical information is still good and they just
11 want to keep it as is, without making technical
12 changes. In that case, they would recommend that it be
13 reaffirmed.

14 The committee can reaffirm it in a meeting.
15 They can send a letter ballot, but most often it's done
16 in a meeting, as long as the committee is notified
17 ahead of time and the standard goes out with the agenda
18 for that committee.

19 But since they have to get this done every
20 five years, it's best that they start a few years
21 ahead, which is what they're doing with RP0102. That
22 revision is due in 2007, so this committee is already
23 working on the revision. Pam happens to be the chair
24 of that committee, so if you'd like to talk to her
25 about that, feel free.

1 The committee can start a revision right
2 after a standard is published, if they want. Sometimes
3 the committee works very hard on a standard and,
4 because of new information coming out, or sometimes new
5 safety information comes out for some reason, they will
6 decide to revise it immediately after it's published.
7 That doesn't happen that often, but it's best to start
8 two or three years ahead of the revision because the
9 revision is supposed to be complete at the end of five
10 years, not started at the end of five years.

11 Usually, we reactivate a task group that
12 published a standard originally. Just to keep the
13 continuity, they can keep the same task group number.
14 Usually the chairman will be different and some of the
15 members will be different, but they will still keep
16 that task group number and reactivate it.

17 NACE committees meet usually twice a year,
18 although they can meet more often if they have a lot of
19 work to do. And on some of these pipeline integrity
20 standards that have been published recently, they've
21 met many more times than just twice a year. But the
22 official NACE meetings are twice a year at the NACE
23 Annual Conference and Corrosion Technology Week.

24 Corrosion Technology Week is in Calgary this
25 year in September, from September 18th to the 22nd.

1 Task Group 212, which is working on the ILI standard,
2 will meet at that meeting, and I've given the date and
3 time on the slide. Feel free to come to that meeting
4 and provide your input if you would like.

5 This year, for the first time, NACE members
6 don't have to pay to go to this meeting. But even if
7 you're not a NACE member, you're still welcome to come.

8 NACE also has a second type of committee
9 called a technology exchange group. Usually these
10 committees have information exchanges in their
11 meetings. Sometimes they have planned presentations
12 like we're having in this meeting. Sometimes they just
13 have an open discussion where people can come in and
14 post questions and discuss problems they're having and
15 other people will respond and give solutions that
16 they've had to those various problems.

17 This Technology Exchange Group 267X is on the
18 same topic as the inline inspection standard, so
19 they'll be discussing topics related to inline
20 inspection. Sometimes these TEGs provide suggestions
21 to the task group that's developing a standard. TEGs
22 don't develop standards, but they often do a lot of
23 research. They have presentations sometimes that are
24 solicited from very knowledgeable people.

25 We have another technology exchange group on

1 the direct assessment process, in fact, that has a list
2 server going, and people respond to the list server
3 with suggestions. They're going to provide input to
4 that task group. So this is another way that industry
5 provides input to the standards development process.

6 The task group that develops the standard is
7 very small. It's usually maybe 10 to 15 people. So
8 those people develop a draft, but then there's a much
9 wider group that votes on the standard and there's a
10 much wider group that can have input. There are
11 usually several sponsoring STGs, one or more sponsoring
12 committees, that can vote on it, along with anyone else
13 from industry who wants to.

14 So if you would like to come to the Corrosion
15 Technology Week meeting, and you would like more
16 information, please see me after the break or at the
17 break or after the meeting and I'll give you some
18 information.

19 The last thing that I wanted to mention is
20 that NACE is developing a course on inline inspection.

21 This is just under development, so I really don't have
22 details on this course. I'm sure that it will use the
23 standard on inline inspection and possibly the report,
24 too. But I -- it's just under development, so it's not
25 -- there's not any information yet.

1 But I would suggest watching the NACE website
2 for information on the courses. If you're a NACE
3 member and get Materials Performance Journal, it will
4 also be described in there. But usually the most up-
5 to-date information on technical committee activities
6 and course activities will be on the website, and the
7 URL is given here.

8 Of course, please feel free to call me if you
9 have any questions. If I can't answer it, I'll be
10 happy to direct you to the right person.

11 Richard?

12 MR. SANDERS: Linda, thank you, ma'am.
13 Appreciate it.

14 (Applause)

15 MR. SANDERS: Any questions for Linda?

16 (No response)

17 MR. SANDERS: Our next speaker, Bryan Melan,
18 is system and integrations leader for Marathon
19 Pipeline, LLC in Houston, Texas. He is responsible for
20 pipeline structural integrity of Marathon's assets in
21 Texas, Louisiana, Wyoming, and the Gulf of Mexico.

22 Mr. Melan has over 15 years' experience. He
23 is present vice chair of the NACE Task Group TG 212,
24 which developed the RP0102, and is presently chairman
25 of the NACE ILI Committee TEG 267X. He is also co-

1 chair of the API 1163 Work Group, which developed the
2 1163 Inline Inspection Systems Qualification standards.

3 Bryan?

4 (Applause)

5

6 Inline Inspection Association
7 API 1163, "ILI Systems Qualification"

8 Bryan Melan

9 (PowerPoint presentation)

10 MR. MELAN: Thank you. I know I'm the only
11 thing standing between you and the break, and I also
12 know how comfortable those chairs are out there, so
13 we're going to get through this fairly quickly.

14 It feels a little bit today, with all the
15 announcements about API Standard 1163, that this is
16 kind of a coming out party. Standard 1163 is getting a
17 lot of mention and attention here for a standard that
18 probably the vast majority of you haven't even seen
19 yet. So we encourage you to get it, to read it, to use
20 it. It's an attempt to standardize across the industry
21 on processes used for inline inspections.

22 I'd like to take this opportunity right now;
23 since this is the first time since it's been published
24 I've been able to address folks, I want to thank all
25 the members of the 1163 Work Group, a lot of whom are

1 here today. I especially want to recognize my co-
2 chair, Jerry Rau of Panhandle Energy. Bryce Brown was
3 vice chair; Bryce from Rosen Inspection. And a special
4 recognition to Mr. Bernie Selig, who was kind of the
5 catalyst that put all this together and kept us focused
6 as we went through the process of developing the
7 standard.

8 The first thing to mention is this is API
9 1163's first edition. We want to give this thing a
10 chance to be used and to be matured and developed.
11 Other standards API have published -- API 1104, for
12 example, is going into its twentieth revision. We
13 don't envision that this standard is perfect by any
14 means, and there are going to be problems, there are
15 going to be gaps, and there will be revisions.

16 But pretty much it's a good first step,
17 establishes a good path forward for the industry, both
18 operators and ILI vendors, and it's kind of an
19 organization of best practices. The work group
20 consisted of a wide array and a wide diversity of
21 individuals with various experience.

22 API 1163 provides requirements for the
23 qualification of inline inspection systems. The
24 standard ensures that inspection service providers make
25 clear, uniform, verifiable statements describing inline

1 inspection system performance.

2 It also ensures that pipeline operators
3 select an inspection system suitable for the conditions
4 under which the inspection will be conducted. This
5 includes pipeline material characteristics, pipeline
6 operating conditions, and the types of anomalies
7 expected to be detected and characterized.

8 It ensures that the inline inspection system
9 operates properly under the conditions specified. It
10 ensures that inspection procedures are followed before,
11 during, and after the inspection. Also, the anomalies
12 are described using a common nomenclature as described
13 in the standard.

14 The standard is non-technology specific. It
15 covers all inspection technologies. It's performance-
16 based. It tells you what's required, what needs to be
17 done. It does not tell you how to do them.

18 It provides requirements for qualification
19 processes. It defines the documentation of the
20 processes for system qualification. It fosters
21 continuous improvement in ILI quality and accuracy, and
22 you've heard that several times this morning about the
23 feedback between service providers and operators and
24 vice versa. We'll see that.

25 It standardizes ILI terminology, and this was

1 a particular concern of ours in the work group and
2 something that got a lot of attention because ILI has
3 developed kind of haphazardly over the years, the use
4 of ILI, and people were calling different things -- the
5 same anomalies different things. They were defects,
6 they were anomalies, they were features; what's the
7 difference?

8 This is a figure from 1163, and it kind of
9 takes you through the steps of when an indication
10 becomes an anomaly, when an anomaly becomes a defect.
11 When an anomaly doesn't become a defect, it's a feature
12 or an imperfection. It's kind of hard to read right
13 here, but it's in the standard and you can go through
14 those steps and see how the terminology evolves.

15 We also encourage in the standard to use the
16 terminology in the definitions section, calling metal
17 loss, metal loss, and deformations, and the difference
18 between deformations and dents, the difference between
19 validation and verification.

20 Under Preparation, this slide is called
21 "Operator Responsibilities." But it also mentions that
22 while service providers have the responsibility to
23 identify inline inspection system capabilities, their
24 proper use and applications, the operators also have
25 responsibilities. These are to identify the specific

1 threats to be investigated, to choose the proper
2 inspection technology, to maintain operating conditions
3 within the ILI system performance specification limits,
4 to confirm the inspection results, and to provide
5 feedback from the verification results to the ILI
6 service providers.

7 Under the Goals and Objectives, the goals and
8 objectives of an inline inspection shall be defined.
9 The procedures used to define the goals and objectives
10 are not part of the standard. If you need help, if you
11 need a reference, there are other standards out there
12 that will help you define the goals and objectives of
13 an inspection. Some of those are API 1160 and ASME
14 B31.8S.

15 This is one of the keystones to the entire
16 standard, the performance specification. The
17 performance specification shall define the capabilities
18 of the inline inspection system to detect, locate,
19 identify, and size anomalies.

20 The service provider must statistically
21 validate the system performance when generating this
22 performance specification in terms of the types of
23 anomalies or characteristics covered by the performance
24 specification, the detection thresholds and
25 probabilities of detection, probabilities of proper

1 identification, sizing or characterization accuracies,
2 the linear distance and orientation measurement
3 accuracies, and any limitations of the system. The
4 service provider is required to submit a qualified
5 performance specification to the operator which will
6 define these parameters.

7 Under the Execution phase of the standard,
8 this is where the other two standards tie in.
9 Personnel and equipment used to perform inline
10 inspections and analyze the results shall be qualified
11 according to API 1163 and the companion standards ASNT
12 ILI-PQ and the NACE RP0102.

13 Combined, these three standards provide the
14 requirements and processes for the qualification of
15 inline inspection systems, including inline inspection
16 tools, their software, and the personnel to operate the
17 systems and analyze the results.

18 Under Reporting, only feature and anomaly
19 identifications and characterizations that are within
20 the performance specification and can confidently be
21 called within the performance specification may be
22 reported. Other features that the service provider is
23 not comfortable saying are within the performance
24 specifications may be identified, but they must be
25 reported and identified as unqualified.

1 This is where I've heard the term used
2 before, "undecipherable type signals." If they're not
3 confident they can be put into terms of the performance
4 specification, they may be reported but have to be
5 identified.

6 Under Verification, I think Lisa touched on a
7 lot of this earlier, so we're not going to go into it
8 in very much detail. But the process must be
9 validated. That's the first step of verification.
10 Data -- comparison with historical data for the
11 pipeline inspected or, also, you could compare the data
12 with historical data from a similar pipeline system
13 that was inspected. Data comparison with any large-
14 scale data used to qualify the ILI system, such as from
15 pull tests.

16 Verification digs may or may not be required,
17 and we'll look at Figure 4 in just a second to see what
18 we're talking about there.

19 Regulatory- or operator-required
20 investigation digs are an additional consideration
21 beyond the scope of this standard. In other words,
22 we're just talking verification digs here to verify
23 that the tool performed within the performance
24 specification. You may be digging a lot of other
25 things for regulatory or your own requirements.

1 This is Figure 4. Again, a lot of detail,
2 but take a look at it in the standard. Basically,
3 we'll start on the left-hand side, where we completed
4 the ILI data and the process is validated. If we
5 cannot validate the process and account for
6 discrepancies, we cannot validate the results and
7 therefore verification measurements are suggested.

8 If we don't have good comparison with
9 historical data, if something looks amiss, then it's
10 also recommended that verification digs be performed.

11 However, if everything lines up and all the
12 planets align and you've got just a few anomalies and
13 they were all reported pretty close to what happened
14 during the last inspection, we can verify the results
15 without digs. The standard allows that.

16 Under continuous improvement, when
17 verification digs are performed, information from the
18 measurements shall be given to the service provider to
19 confirm and continuously refine the data analysis
20 processes. Any discrepancies between the reported
21 inspection results and verification measurements that
22 are outside the performance specifications shall be
23 documented.

24 I think I'm going to repeat one more thing I
25 believe came up in a question earlier. What happens

1 when your data and your verification measurements are
2 outside the performance specification? And again, to
3 repeat, there is communication that has to happen
4 between the operator and the service provider to sit
5 down and review that data.

6 The inspection data may be reanalyzed
7 altogether, depending upon how serious and prevalent
8 the discrepancies are. All of part of the inspection
9 results may be invalidated, or the performance
10 specification may be revised for all or part of the
11 results.

12 Finally, the last slide. This is another
13 figure within Standard 1163. It shows you how
14 everything progresses from the ILI to be conducted and
15 starts the steps -- the real meat of it starts in
16 Section 6. Everything else before that is pretty much
17 boilerplate references, the definitions sections.

18 Section 6 starts where you select a system.
19 It also links with NACE RP0102. Linda mentioned the
20 table of ILI tool selection in RP0102. That is an
21 excellent reference to use to help select the right
22 tool for the threat that you're looking for in the
23 pipeline.

24 Section 7 specifies performance. This is
25 where the performance specification comes in that the

1 operator receives from the service provider to tell
2 what's expected of the tool.

3 Preparing and running the tool is covered in
4 Section 8, and validating the operation of that tool is
5 also in Section 8, to validate that you've got a good
6 run and you've got good data.

7 And then, down at the bottom is where ASNT
8 actually ties in with the data analysis and also
9 preparing and running the tool, in Section 8, because
10 of the two different classifications of personnel that
11 are being qualified.

12 And at the bottom is the feedback loop.
13 That's where data is analyzed, reports issued, the
14 verification takes place, and the feedback occurs, and
15 maybe the report has to be modified or issued or the
16 specifications changed. But again, we're emphasizing
17 the feedback loop.

18 Thank you very much for your attention.

19 (Applause)

20 MR. SANDERS: Has anybody got any questions
21 at this time? Everybody is wanting to go to break.

22 (No response)

23 MR. SANDERS: Let's go ahead and take our
24 break. We've got a couple of questions we'll answer
25 when we get back in and get started again.

1 (Brief recess)

2 Question-and-Answer Session

3 MR. SANDERS: As everybody is taking their
4 seats, there was a question -- matter of fact, got a
5 couple of questions I think I can answer with one fell
6 swoop.

7 The question is, "Sanders stated OPS would
8 not be issuing final rules on OQ since B31.Q is not
9 being published on time." I hope I didn't say that.
10 If I did, I apologize because OPS is moving to write a
11 final rule on B31.Q, certainly utilizing the
12 information that's been generated in ASME B31.Q. But
13 it may be late in arriving due to the fact there were
14 negatives that had to be worked through and had to be
15 sent back out through the committee to get final votes
16 on.

17 Even if it gets published at the end of the
18 -- at the beginning or the first of the year,
19 certainly there will be the opportunity for OPS to be
20 petitioned to adopt the ASME B31.Q, or at least those
21 applicable parts in it.

22 But as Stacey indicated earlier, we feel like
23 we're required, based on the reauthorization and
24 commitments that we've made, that we've got to go
25 forward with this rewrite to broaden the scope based,

1 again, as ASME B31.Q indicated.

2 The other question was, "Would the direct
3 final that was published in March be retracted?"
4 Absolutely not. That was accomplished to meet the
5 requirements of NTSB, and as I stated, I believe that
6 we met and accomplished what NTSB was asking us to do.

7 Not only that, if you go into the law, it
8 specifically required us to address some of those
9 areas. You as an operator were already required to
10 meet it whether it was in the regulations or not. So
11 all we did is took wording and all from the regulations
12 and put it into the codes under 192 and 195.

13 And then, the last one again addressed the
14 direct final rule of March 31. It's a final rule.
15 It's out there. It's applicable. Matter of fact, the
16 inspection protocols were changed in the headquarters
17 inspection and field verification forms to reflect that
18 it's mandatory that you address those requirements. So
19 anybody that's undergoing an OQ audit today should in
20 fact have those questions proposed to you and should be
21 audited accordingly.

22 Any other questions that we need to answer on
23 the B31.Q issues? If not, I would like to turn the
24 program back over to Joy.

25 (No response)

1 Panel: How can Assessments be Improved to Carry Out
2 the Intent of the Regulations?

3 Joy Kadnar, Moderator

4 MR. KADNAR: Thank you, Richard.

5 This is the last panel, and in this panel, it
6 will be more interactive, more informal. We would like
7 to have some ideas on how we move forward, what needs
8 to be done, what we need to do, what the standards
9 organizations could do to improve the process and
10 improve the education of the pipeline industry at
11 large.

12 I would like to introduce the panel we have
13 here. On my extreme right is Dr. Franci Jeglic. Dr.
14 Franci Jeglic is with the National Energy Board in
15 Canada. He has 35 years of pipeline experience. He is
16 presently with the National Energy Board, and he's a
17 member of the ASME and Canadian Standards Association
18 and others.

19 Beside him, on his left, is Mr. Brian
20 Sitterly. He is the integrity and regulatory services
21 manager of Shell Pipeline Company. Mr. Sitterly has 19
22 years of pipeline experience. Over the last five
23 years, he has led the development of Shell Pipeline's
24 integrity management programs. He has held many
25 positions in engineering, operations, community safety,

1 and regulatory services.

2 In addition to Shell Pipeline's Integrity
3 Management Program and Risk Program, he leads the
4 public awareness and damage prevention efforts and
5 Operation Qualification Program.

6 Mr. Sitterly is a graduate of the University
7 of Texas at San Antonio, and he has a B.S. in civil
8 engineering. He is also a registered professional
9 engineer in Texas.

10 On my right is Mr. Shamus McDonnell. He is
11 the CEO of Hunter-McDonnell Pipeline Services. He has
12 worked extensively on pipeline integrity since 1990.
13 Hunter-McDonnell specializes in advanced pipeline
14 integrity data analysis and management, improving
15 inline inspection and pipeline protection, and GPS
16 survey data.

17 And on my left is Mr. Bernie Selig. Many of
18 you know him. He has over 40 years of experience in
19 the power, insurance, and pipeline industries. Lately
20 he has been concentrating on standards for the pipeline
21 industry, including ASME B31.8S, API 1163, and ASME
22 B31.Q.

23 Mr. Selig has a flight at 6:30, so he would
24 like to make a short statement. We will start off with
25 him. Immediately after Mr. Selig, we'll go to Mr.

1 Sitterly, who would like to make a very short
2 presentation, and then we'll talk amongst ourselves and
3 invite questions.

4 Thank you.

5

6 Remarks by Bernie Selig

7 MR. SELIG: Joy, thank you very much. I
8 guess the question for us all is, how can assessments
9 be improved to carry out the intent of the regulations.
10 At least that's the title for this section.

11 Assessments, since IMP initiation, are on the
12 whole okay. Some of the examples given in the public
13 announcement occurred before IMP began in regulation.
14 If there are companies gaming the system, that is a
15 regulatory problem. Find them and deal with them
16 appropriately. Don't make the rest of the industry do
17 additional things because of the inappropriate behavior
18 of a few.

19 I want you to remember that ILI is not an
20 assessment. Assessment requires a comprehensive,
21 integrated, and systematic approach to acquiring and
22 integrating data and then assessing it. ILI is one
23 piece of that assessment.

24 I'm known in the industry for speaking my
25 mind, and as you can see, I'm doing that now. And then

1 I'm going to cut out of town, so.

2 (Laughter)

3 MR. SELIG: One of the things I'm seeing --
4 and I've gotten to see an awful lot in the industry
5 over the last 10 or 12 years that I've been very nicely
6 associated with the pipeline industry. I just want to
7 make one comment, and if the shoe fits, you've got to
8 wear it.

9 You cannot subcontract out your integrity
10 management approach. That's what all these people here
11 have been telling you about communications, the reason
12 we need the communications. It can't be one way;
13 getting a vendor or service provider and saying, "Do an
14 ILI. Tell me what I have to fix, and I'm done." That
15 will not work. It's got to be a cooperative venture.

16 Now, the new standards that we've been
17 talking about today address many of the issues
18 mentioned in the public announcement. As a matter of
19 fact, when I went through the six or eight bullets that
20 show those, there was only one that the standards did
21 not address, and that was because of tool limitations
22 or incorrect tool use, and even that could be covered.

23 What I'd like to advise OPS to do is to let
24 industry take some time to implement these. I'd like
25 OPS to assist in disseminating them by issuing an

1 advisory for all three of these standards out to the
2 entire industry and recommending that they try them.
3 Let's see how that works.

4 And I have some thoughts for OPS and NTSB.
5 Is there anybody from NTSB here?

6 (No response)

7 MR. SELIG: Okay. It'll be on the record,
8 and I'll hear about it.

9 (Laughter)

10 MR. SELIG: OPS has and continues to be
11 actively involved and participate in the development of
12 these industry standards, and we are very much
13 appreciative of that. We wouldn't be where we are
14 today without their involvement.

15 Working on standards and then incorporating
16 them into regulations, such as the diagram that was
17 shown earlier, is actively trying to resolve open NTSB
18 issues. Standards are one way of doing that. OPS,
19 take credit for your efforts and explicitly communicate
20 them to NTSB and tell them how you're anticipating that
21 particular standard will take care of an issue that
22 NTSB has raised.

23 Now I have a comment for NTSB. NTSB should
24 provide comments during the open comment period on
25 standards when standards go through the ANSI review

1 process. These technically based standards do cover
2 many of the issues NTSB raises, and they need to be
3 more aware of them and perhaps a lot more involved.

4 And I know they have a particular scope, but
5 the way they get dragged into this is we as an industry
6 tell them we're going to take -- we agree with your
7 concern and the way we're going to take care of it is
8 through a standard. Then they get dragged into it, and
9 they should be somewhat actively involved. I'm not
10 suggesting they should be on the committees, but they
11 should clearly review the standards and understand how
12 those standards are going to take care of some of the
13 issues they have.

14 Those are the only comments I wanted to make.

15 Thank you.

16 MR. KADNAR: Thank you.

17 (Applause)

18 Remarks by Brian Sitterly

19 (PowerPoint presentation)

20 MR. SITTERLY: I just have a few slides I
21 wanted to run through. I think you'll find that they,
22 to a large degree, summarize some of the points you've
23 heard today, but I also hope they prompt some questions
24 from you all for the discussion that's supposed to take
25 place later.

1 But this first slide up here, four years of
2 continuous improvement. The message I want you to take
3 away from this slide is, we've not been at this very
4 long, but there has been a lot of significant work that
5 has been done. It was just in 2001 that the rule was
6 issued, or became effective, rather. That same year,
7 API 1160 was printed.

8 In 2002, we started seeing the first written
9 integrity management programs among liquid operators,
10 and they've continued to improve ever since.

11 By the end of 2004, the liquid industry had
12 completed more than 50 percent of their HCA mileage in
13 terms of being assessed.

14 And just here in 2005, API 1163 and its
15 associated documents are coming out. That should take
16 us to another level.

17 Now, API 1163 has gotten a lot of air time
18 here today, but we shouldn't forget some of the other
19 significant work that's gone on over this time frame:
20 documents like B31.8S, the suite of NACE direct
21 assessment documents, and we shouldn't forget API 1162
22 on public awareness, so.

23 Just a quick slide on some of the results
24 we've achieved. As a result of the rulemaking, there's
25 been a significant increase in the miles inspected and

1 therefore anomalies repaired. Data integration is
2 identifying additional injurious conditions.
3 Technology and our knowledge related to how to do this
4 work is continuing to improve. The new consensus
5 documents are educating and setting standards for
6 process rigor across the industry.

7 The performance metrics show that there has
8 been a significant improvement in release performance
9 since the implementation of the rules and things like
10 API 1160. With 1163 and the supporting documents
11 coming out, with more mileage yet to be assessed for
12 the first time, with improvements in technology, with
13 additional R & D that's taking place, the stage is
14 certainly set for continuing improvement down the road.

15 In preparation for this public meeting, I
16 participated in some conversations with other pipeline
17 operators, trying to identify, you know, what do we
18 think we ought to be taking into consideration looking
19 forward on this road to continuous improvement. This
20 list here represents the consensus of that group and
21 items that we can mutually agree upon.

22 The first thought is, allow the rule, the
23 protocols, in industry documents to continue delivering
24 results. They clearly are delivering the results. It
25 shows up in the performance metrics. These items have

1 set a great framework for continuing to improve.
2 Operators and everybody has a lot of room for
3 improvement within the framework that exists today.

4 A thought about the incidents that were
5 referenced in preparation for this public meeting. The
6 thought here is, analyze incidents in context with
7 overall performance. Overall there is clear
8 improvement. There is not a lot known about the
9 incidents that were referenced. The causal findings
10 have not been broadly shared. So it's difficult to
11 know whether or not we have a trend developing or we
12 have a new learning developing.

13 But in the absence of a new trend, in the
14 absence of a new learning, the recommendation is we
15 ought to stay the course. Now, stay the course doesn't
16 mean don't continuously improve, but one thought we
17 wanted to capture here is we need to resist the
18 temptation to make sudden course corrections that may
19 be counterproductive. They may take away resources
20 from focusing on these methods that are clearly working
21 and we're still trying to incorporate to a higher level
22 in our programs.

23 Knowledge sharing is a huge opportunity for
24 continuing improvement at this point. Forums like this
25 work very well. They're not the best forum for

1 developing detailed learnings about how operators are
2 doing this business, what's working well. We need
3 smaller, more intimate forums where there's more detail
4 that we dig down into, and I think through that process
5 we'll identify additional best practices, proven
6 practices, and be more effective in moving the whole
7 industry towards improving.

8 Obviously, we all want to strive for
9 continuous improvement. The people resources we use in
10 this business are relatively highly specialize.
11 They're slow to develop. We can't address everything
12 at once. Whether you're an operator, a vendor, or a
13 regulator, we don't have all the people we need to be
14 as effective as possible. So the point here is, let's
15 just make sure we focus those resources on delivering
16 the greatest improvement over time.

17 And the last slide I'll show up there is one
18 you've seen several times now. What we're doing is
19 working. Let's keep heading that direction.

20 Thanks.

21 (Applause)

22 MR. KADNAR: Thank you, Brian.

23 Would you like to add something? You just
24 told me you wanted to add something.

25 (No response)

1 Panel Discussion

2 MR. KADNAR: (Off mike) Having gone through
3 this entire day, one very important thing that struck
4 me was what Andy Drake said. Here we have maybe the
5 best pipeline operators, and maybe just one -- you
6 know, 3 percent of the pipeline operators in the
7 country. Most of the operators...I believe, good. How
8 do we educate the other pipeline operators?

9 And it then struck me...to tell pipeline
10 operators what we can expect of them would be a good
11 idea. Another idea would be...pipeline operators to
12 take a look at all these standards that have been
13 issued, that have been reviewed and implemented,
14 integrate them into their programs, and implement
15 program operating.

16 Another option we have is -- I had something
17 in mind. I'm sorry.

18 (Laughter)

19 MR. KADNAR: (Off mike) There are options of
20 standards and regulations. I'm not...process. We can
21 speak to counsel and Director of Regulations, Florence
22 Hamm, as to what can be done, but the option that we
23 would take -- I don't know the process how it would
24 work or can it be done, you know.

25 And the third option we have at present is to

1 make the industry at large aware of these standards.

2 I had a few questions in the interim. Dr.
3 Jeglic, since you work with the National Energy Board,
4 can you tell us -- can you shed some light; is there
5 anything being done differently by the Canadians than
6 what is being done by us in the U.S.?

7 DR. JEGLIC: Well, I listened today and I
8 observed what you are doing in the States. What I
9 realized is that you said you have all the same goals,
10 so we have the same goals. What we are talking about
11 is performance indicators, the integrity performance
12 indicators. And we are formulating a few indicators
13 that would be established on a yearly basis so we can
14 compare the average performance and then see who is
15 above and who is below.

16 Then, again, coming back to the goals, since
17 we have all the same goals we have decided to have
18 goal-oriented regulations. So what the goal-oriented
19 regulations say, it's the same goals: no ruptures, no
20 injuries, no fatalities, high safety standards, high
21 integrity standards.

22 And what the operator has to do is, he has to
23 develop an integrity management standard program. So
24 all our operators, they have programs and they are
25 programs that they feed their systems.

1 And I heard today that there would be audits.
2 We have, also, audits. Very similar; what you are
3 doing we are doing. But we also have audits but we
4 don't have too many audits per year. We regulate
5 approximately 110 companies. And we also realize that
6 we have large companies and not so large companies, so
7 we divided the companies in Group 1 and Group 2.

8 And so those audits cannot cover all the
9 companies in the cycle of five years. So what we did,
10 we went and had a meeting with the pipeline operators
11 and we talked to them. The staff talked to them, and
12 they held a presentation on what they did in the last
13 year and what they will do the next year. We hold one
14 or two meetings per year with the operators, and the
15 operators generally like this kind of one-to-one
16 approach.

17 And there are a few other things. There is
18 one other thing I want to mention. I don't want to
19 elaborate too, too long.

20 What we are looking today at is the pipelines
21 in service. It happens that, first of all, I want to
22 mention that most -- not most, but many pipelines that
23 you operate in the States start in Canada and maybe
24 they have a different name. But basically, there is --
25 they will originate in Canada and it would show perfect

1 integrity on your side.

2 But we are also looking at the new pipelines,
3 pipelines from the north, and there are some
4 challenges, I understand, for the vendors if the tools
5 will operate at verified pressures. We are looking at
6 pipelines up to 3000 PSI and we are looking at
7 pipelines that we are operating in sub-freezing
8 temperatures. These are all gas pipelines, and the
9 future operators tell us that there are no pigs that
10 would withstand those circumstances. But they also
11 tell us that they work with vendors to develop those
12 pigs.

13 There are a few other small things, but for
14 now I think I should give a chance to other members
15 here at the podium.

16 MR. KADNAR: This question is for Shamus.
17 You told me that you've worked a lot overseas. Are
18 there any good practices that you have seen deployed
19 overseas that, you know, maybe we could absorb over
20 here in the inline inspection industry? I think we
21 always believe we are right on top on the face, but is
22 there something that you have seen adopted by companies
23 overseas that could help us improve?

24 MR. McDONNELL: For the most part, most of us
25 out in North America in a lot of ways is starting to

1 becoming industry-leading. There were times not that
2 far in the past when practices were quite a bit
3 different. There was a fast, low-budget approach to
4 pipeline integrity and it wasn't taken as seriously.

5 There were stronger and more comprehensive
6 standards and so forth developed in other regions where
7 failures had greater consequences. Now that those
8 consequences have started to increase here, there's no
9 question that the bar has been raised here and has come
10 to the forefront. Some of the stuff that is happening
11 right here is leading for other companies in other
12 parts of the world.

13 So nothing specific comes to mind.

14 MR. KADNAR: Okay. Is there anything, being
15 a practical person, being someone who works with pigs,
16 evaluates logs, and does other tasks, other activities,
17 is there anything that you think can be something that
18 as a regulator we should be looking at, or that an
19 operator should be looking at? You've seen the pig
20 logs, you've seen how the operators flag it, you know
21 our regulations, you know what the operators' plan is.
22 You see the entire picture.

23 MR. McDONNELL: The biggest one that comes to
24 mind; it came up today, or the comment came in several
25 of the discussions, with the feedback loop. When the

1 operator receives the data from the vendor and goes out
2 to do his excavation and repair program, there has
3 still been some reluctance on the operators' part to
4 collect enough data to give good feedback back to the
5 vendor.

6 This relates back to the low-resolution tools
7 as they've evolved. It wasn't that many years ago --
8 15 years ago, you'd get a log and it was graded one,
9 two, or three, meaning it had less than 25 percent wall
10 loss, less than -- or, 25 to 50 percent wall loss, or
11 greater than 50 percent. So you'd go out there with a
12 pit gauge and confirm that, yes, we did find a 60
13 percent wall loss pit in that joint. That meant that
14 there was good correlation.

15 Today these tools are calling out thousands
16 of individuals calls or anomalies in a single joint,
17 and we can't begin to collect that data efficiently in
18 the ditch. It's a big problem. There are some
19 automated tools, but it's time-constrictive and there
20 are limitations to what the pipeline operator is
21 willing to absorb at this point in time to collect
22 enough data to close that feedback loop in a resolution
23 and reliable fashion that can be used by the ILI vendor
24 to improve their records.

25 It's something that we need to work on, but

1 there are practices and stuff being developed and there
2 has been a lot of improvement there. But it's still
3 one of the weaker areas.

4 When the operator can confirm that the
5 anomaly does or does not require repair, once he has
6 the pig excavated, in most cases sufficiently, they
7 make their repair, they can move on. They do not need
8 to stay there for 10 hours collecting data to validate
9 the log at that point. They confirm they have to
10 repair it; they're going to cut it out. That's where
11 they want to stop.

12 The low-resolution field data, though, is
13 typically collected in those instances. It is
14 completely inadequate to the ILI vendors. Even if
15 supplied back to them, they're going to look at it and
16 go, well, it shows a very poor correlation because in
17 the field they measured at a much lower resolution than
18 the tool did. So that's one major area that would
19 probably help that and probably make it easier for the
20 ILI vendors to receive that feedback from the
21 operators.

22 MR. KADNAR: Interesting. Brian, you're
23 familiar with the code, the ASNT standard, right?

24 MR. SITTERLY: I'm not particularly familiar
25 with the ASNT ILI-PQ standard, if that's the one you're

1 --

2 MR. KADNAR: Okay. I'd like someone to
3 answer this question on the standard. It came to my
4 attention -- and I'm not familiar with the standard,
5 too -- that there appears to be a significant
6 difference in how the inline inspection analysts are
7 qualified and, you know, with respect to how NDT
8 personnel are qualified.

9 Supposedly, NDT qualification is recognized
10 worldwide and there's a testing program. Inline
11 inspection qualification is in-house, so it can vary
12 from company to company. If this is so, is there a
13 need to reconcile the differences?

14 MR. CULBERTSON: Dave Culbertson from El Paso
15 Corporation. As far as the ASNT standard, it was
16 developed using the same boilerplate that the NDT
17 standard has today. The guidance was from having input
18 from the ILI vendors of what they felt were equivalency
19 to what the present NDT standards are.

20 Now, you bring up a good question on that
21 particular point. That is, we now have a benchmark to
22 start from and we have to percolate through this and
23 see how it comes up. Yes, the next edition may be
24 changed to be more specific and identify those areas
25 for qualification, but right now it's a starting point.

1 It's an agreement among those who participated in
2 writing the standard.

3 MR. KADNAR: Thank you very much, David.

4 AUDIENCE MEMBER: Scott (Name) with GE. I
5 co-chaired the ASNT standard with Dave. One of the
6 things across the inline inspection analysis process is
7 different focus areas depending upon the flow processes
8 that are automated. Some areas are more automated in
9 some companies than are others.

10 So what you find through the inspection
11 providers is various needs for various expertise. So
12 when we developed the standard, we allowed that to
13 reflect which operators or which suppliers have
14 different requirements.

15 So the recommended hours of training that are
16 in the standard itself are recommended based on a
17 selected group but not written to be prescriptive
18 across the board. So a little bit of, I think, what's
19 being perceived is the numbers that are in the standard
20 are actually hard numbers, but they were baseline
21 projections from the consensus group. But those need
22 to be reflected within your written practice of in
23 those areas that you've identified as key process steps
24 and taken into account.

25 So it's there for a guideline, but specific -

1 - each inline inspection provider should have those key
2 tasks and the training required to be competent in
3 those tasks reflective of the nature of the work.

4 So you'll see a little bit of variation, but
5 it's contributable to the process.

6 MR. KADNAR: Thank you, Scott.

7 Shamus, this question is for you. It is my
8 understanding from the previous investigations that we
9 have done that some operators request only features
10 beyond a certain threshold to be reported. Do you
11 think -- like, for example, they'll say, "Give me all
12 pigging above 30 percent wall loss."

13 Do you think this is a good approach, and
14 should all features within tolerance for that
15 particular tool be reported?

16 MR. McDONNELL: There would likely be -- I'm
17 trying to think of an instance where a pipeline
18 operator would not want to know everything that's on
19 their pipeline. They're in the transportation
20 business. They have to have product running through
21 their pipeline in order to make their money. The last
22 thing they want is to have interruptions to that
23 production.

24 So to start cutting parts of data off and not
25 want to know what's out there is not a good approach.

1 That's like putting your head in the sand. It's best
2 to confront it and see what's out there.

3 There are -- I suppose if you get a line with
4 a great deal of data on it and you're trying to focus
5 on particular regions of the pipeline, that's probably
6 a better approach than to start not wanting to know
7 what might be there.

8 As far as anomalies that meet the threshold
9 criteria of the tool, provided they can be sized they
10 should be. I believe there was a terminology in the
11 last presentation about an API 1163 for unqualified
12 calls. If it's a defect that can be seen by the tool
13 but it cannot be sized accurately, then to identify it
14 at least to make the operator aware of it I think is
15 something that should be done. It's not something that
16 they should be held to, of course, from a standpoint of
17 the operator has to address it or so forth. It's a
18 difficult thing to do.

19 It's just something they should be aware of.

20 There should be a validation from the standpoint of
21 confirming it. If it looks like a T -- as in your
22 earlier presentation, if it's something that looks like
23 a T and from all the records -- construction records on
24 the pipeline there's no record of there ever being a T
25 at that location, it's something that should be

1 investigated.

2 MR. KADNAR: (Off mike) Let me ask you
3 another question on data and on defects. Are there any
4 tools that can pick up combined defects: corrosion,
5 pitting, and other defects, for example? Will we be
6 able to define the size -- eventually extract the size
7 of the...and the corrosion?

8 MR. McDONNELL: To the best of my knowledge,
9 only the tools that combine different kinds of
10 technologies can size and accurately detect both. So
11 it would take a combination tool that can use MFL for
12 wall loss and also have caliper sensors on it, for
13 instance.

14 There are tools that have secondary effects.
15 MFL tools, especially transverse tools, are sensitive
16 to pipe geometry, so they will pick up the change in
17 shape of the pipe; however, they cannot size that. So
18 what they will see is they can confirm that there is
19 what appears to be wall loss in an area where the pipe
20 is no longer round or has been deformed. They cannot
21 size the deformation.

22 It's not necessary that that is critical at
23 that point. If you have a combined defect, it becomes
24 very difficult to assess that. So there's value in
25 knowing that there is more than one type of defect

1 there. Typically it requires running more than one
2 tool, combining those two logs, layering them,
3 correlating them together properly, and then looking
4 for whether it's overlap or combination defects.

5 MR. KADNAR: Thank you.

6 Dr. Jeglic, do you have any ideas how we can
7 improve performance beyond what has been done today?

8 DR. JEGLIC: Who is "we"?

9 (Laughter)

10 MR. KADNAR: Including you.

11 "We" meaning the industry and the standards
12 organizations.

13 DR. JEGLIC: Okay. That's --

14 MR. KADNAR: Loaded question. I'm sorry.

15 DR. JEGLIC: It's a good question. Well, I
16 think you are -- or, we are on the way. We have a
17 standard now. Lots of people were asking for a
18 standard, so we have one now. I think vendors started
19 doing their best.

20 What I haven't heard today, and I think this
21 was a good development, is that some operators had
22 specific requirements for their pipeline and they would
23 get together with the vendor and the vendor and
24 operator would develop a pig that would suit the
25 vendor's pipeline.

1 So that's something. I'm aware of two or
2 three cases in Canada, and I think this is a good
3 development. Definitely there were -- lots of people
4 talked about understanding or communication, and so
5 there was lots of communication.

6 If I can summarize what I've heard today, I
7 think vendors are doing their best, operators are doing
8 their best, standard-writing organizations are on the
9 ball.

10 Qualification of the people. What I kind of
11 detected; I think if the vendor has a very qualified
12 person and understands the pipeline system and the
13 operator has a very qualified and experienced person
14 that understands the inline inspection technologies, I
15 think both kinds of -- there is just not a kind of
16 contact required but it's a required contact for
17 understanding on a higher technological level.

18 So I think, as you see, you have a large
19 attendance today, even as late as now in the day.
20 Maybe there should be also smaller meetings, if
21 somebody can organize them, you know, where people can
22 exchange day-to-day experiences. Or, there is a good
23 experience where we have in Canada that a group of
24 knowledgeable regulators goes and visits the
25 knowledgeable operators.

1 Now, we do talk to operators and we kind of
2 get information from the vendors on presentations to
3 us, especially with new developments. But we
4 regulators are operators, so we require the operators
5 that they have the right inspection techniques on their
6 pipelines and so on and so forth.

7 So we are not entering into contractual
8 arrangements because -- contractual arrangements are
9 very important because you can buy from the vendor all
10 kinds of services or you can buy only a few services.
11 And this depends. If you are willing to pay, if the
12 operator is willing to pay, I guess we'll get lots from
13 the vendor. Sometimes the operator is restricted in
14 funds that are available for these services. So I
15 always ask when we go to visit the other operators,
16 "What's your budget?" This tells me something.

17 Questions

18 MR. KADNAR: (Off mike) Thank you, Dr.
19 Jeglic.

20 I'd like to open the questions to the floor.
21 In some cases, you may not have the right choice to
22 answer the question, so, you know, if you know who your
23 question is directed at, a morning speaker who is still
24 in the audience maybe can do that. I know that...would
25 like to leave by 5:00, and Bill still has to give a

1 closing statement. So we can take a couple of
2 questions.

3 AUDIENCE MEMBER: I'll be brief then, Joy.

4 MR. KADNAR: Okay, Christina.

5 AUDIENCE MEMBER: Christina (Name) from OPS.

6 Actually, this isn't a question, it's a comment, and
7 it's a comment on how do you get to the smaller
8 operators and better educate them. I think that this
9 type of forum is a great start. However, most
10 operators, especially the smaller operators, don't have
11 the resources to attend these kind of events, which is
12 why you see the bigger operators.

13 I know that the trade associations supply
14 information to the members: American Gas Association,
15 American Petroleum Institute, Association of Oil
16 Pipelines, Interstate National Gas Association, and
17 American Public Gas Association. I think I've covered
18 all the American ones. We provide information.

19 So as these events come out, we can
20 distribute -- there will be webcasts so people can tie
21 in remotely. That helps. It also helps if you post
22 the proceeding and the presentations on your website.

23 I agree with Brian and with Franci that
24 smaller workshops, preferably around the country, on
25 specific topics would help.

1 And I'll make one more suggestion. There's a
2 lot of information currently out there. It's very
3 difficult for even large operators and trade
4 associations to summarize the information for people.
5 It would be fabulous if we could have sort of a Cliff's
6 Notes version of the various standards that are
7 currently out there which trade associations can then
8 supply to the smaller operators. You can post it on
9 your website.

10 I think that will provide people a better
11 perception of what's currently out there that can
12 assist them when it comes to inline inspections.
13 That's just my comment.

14 MR. KADNAR: Nice comment. Thank you.

15 (Applause)

16 MR. KADNAR: Any other questions or comments?

17 AUDIENCE MEMBER: John Zurker (ph) with
18 Process Performance. I appreciate what Christina said,
19 but Cliff's Notes have an inherent nature and that's
20 something interpreting what the standard says. So I'd
21 have to object just a little bit, Christina.

22 The other thing I'd like to say is, industry,
23 government, service providers identified 15 standards
24 being developed about three years ago. Thirteen of
25 those are now published. There are two remaining: one

1 is on IPGA and the other one is on pressure testing,
2 and those will be out soon, I hope.

3 But let's give these standards a chance to
4 work before we start doing something stupid. They're
5 new. They will evolve. They will improve. We will
6 learn lessons and we will make modifications.

7 The second point I'd like to make is there
8 are about 900 operators of approximately 1200
9 transmission pipeline systems in the United States,
10 liquid and gas. Probably 100 are represented here.
11 You may have another 100 on the website, like Christina
12 said, but I think the Office of Pipeline Safety stopped
13 woefully short of fulfilling their obligation to notify
14 these operators of what is out there and what their
15 expectations are.

16 Yes, you post on your website that this
17 meeting is going on and, yes, you invite people to
18 attend. But you do it on your website. You do not
19 contact people individually to tell them that you're
20 going to hold this meeting. There are a lot of small
21 operators with just a couple miles of pipe, and trust
22 me, they do not have the ability to find this out.

23 I also know that every pipeline company in
24 the United States is required to report to OPS at some
25 point in time something about their system, either

1 through integrity management, through annual reports,
2 or through incident reports. OPS is the only
3 organization that has that complete list. There is
4 nothing wrong with you sending letters to these people
5 advising them, if you will -- I don't want to use the
6 word "advise," but notify them these standards are
7 available, you know. That may be an expectation that
8 we think you ought to look at, okay, something on that
9 order.

10 You are the only ones that know who all those
11 people are. The 200 here are fine. The other 700,
12 like Danny said this morning, they're the ones I'm
13 worried about. Those are the one we need to have an
14 outreach program for.

15 So, thank you.

16 MR. KADNAR: Thank you very much.

17 (Applause)

18 MR. KADNAR: Any more comments?

19 (No response)

20 MR. KADNAR: No questions, too? Thank you.

21 I'd like to now hand over the stage to Bill
22 Gute, who will make closing remarks.

23 Closing Remarks

24 William H. Gute

25 MR. GUTE: Thank you, Joy.

1 It's been a long day and so I'm sure everyone
2 is tired, so I'm not going to spend a lot of time up
3 here, you know, rehashing all the stuff that has been
4 said today. There has been a tremendous amount of
5 information that's been given by the panel members.
6 You know, we really appreciate it. This is a huge
7 turnout, so it was certainly an area of interest for
8 everybody.

9 I think some of the comments we just heard at
10 the end here are some good ideas. I mean, we are
11 trying to outreach and reach people. We can take a
12 look at how we do it, if there's a better way. We have
13 some ideas. We can consider how to do them and, if we
14 can do it, we can do it. Maybe even e-mails to some of
15 these people, if they're sending e-mails to us, we can
16 use that way. Letters generated and so on, you know,
17 takes quite a bit of work.

18 But anyway, we can look at how to do that,
19 and we want to do it. I think that's the most
20 important thing.

21 I think a couple key points are
22 communication. We heard that all day long. I think,
23 you know, it goes between the regulator, the vendors,
24 the operators, and the public. Let's not forget the
25 public. They're interested in how we're doing.

1 But one of the things I heard was, you know,
2 the vendors and operators have to have -- understand
3 their goals and expectations, the capabilities, and
4 they have to have a feedback loop.

5 Also, I think the field verification aspect
6 and understanding and reporting in standard ways
7 between the vendor and the operators certainly has come
8 out loud and strong. I think it's an important aspect
9 which I think probably, when we're looking at
10 operators' IMP plans and programs, we'll probably start
11 taking a look at that closer than we have in the past.

12 I don't see a sudden change in course. That
13 came up a couple times. But, you know, we're quite
14 proud of our IMP rules. I think Stacey mentioned that.

15 We spend a lot of time on public outreach and
16 feedback, and I think the results are showing. We saw
17 a lot of slides about -- and the liquid industry is
18 very proud, and I think they should be -- that downward
19 trend. We're proud of that, too. That's how we're
20 judged.

21 So I don't see a change of course, but we do
22 want the continuous improvement. But we can't do it
23 alone. I think that's the other thing that I want to
24 say, and I know Stacey wants to say it. It's got to be
25 a collaborative effort, and that's with the industry,

1 the vendors, and the public. I think this is a good
2 example.

3 I'm very impressed with all the panel members
4 that came up here and spent the time and effort and
5 made their slides, and all the people that came out to
6 hear it. So thank you very much for that.

7 Let's see. I had a note about trying to get
8 to the smaller companies. I think I've talked about
9 that.

10 And I want to acknowledge the work the
11 standards committees have done. John Zurker just got
12 up and talked about the number of standards that have
13 been developed, and they have -- that is quite -- that
14 is a huge amount of work that's been done, and I think
15 they're extremely useful. And I think we will give
16 them the test of time. I'm not sure what the comment
17 meant, you know, "Don't do something stupid."

18 (Laughter)

19 MR. GUTE: But anyway, hopefully we won't do
20 that. But we want to test them, and they have to be
21 field tested. We realize that, you know, when a new
22 standard comes out, that's the first standard. They
23 have to be used. They have to be field tested and
24 there are revisions as they come along. So we
25 recognize that, and I think the standards will help us

1 make better judgments on how we look at companies and
2 how they're applying their procedures and applying
3 their IMP programs.

4 So I think they're extremely useful to us, as
5 was pointed out. We all agreed that they had to be
6 created, and they've been created, so now we want to
7 test them and utilize them.

8 So, with that, I don't have much more to say,
9 other than, again, thank you very much. I think Joy
10 has something here.

11 MR. KADNAR: I'd like to make an announcement
12 unrelated to this meeting. It's about a mechanical
13 damage workshop that Jeff Wiese, our program
14 development director, will be hosting in the month of
15 October. There will be a Federal Register notice. I
16 think the date hasn't been fixed yet because they're
17 going to get together in Houston. But I think Jeff is
18 working on it.

19 So look for that. Look for that Federal
20 Register notice. There is a website, and I think
21 (Name), she left, but she had a website address where
22 we are requesting information on mechanical damage. I
23 don't know the website; I'm sorry.

24 MR. GUTE: Yeah. I guess two more things,
25 then, Joy. You know, the results -- the transcripts

1 will be posted -- of this meeting will be on our
2 website in a few weeks. You'll be able to get that.

3 And if you have additional questions, you
4 know, we want the feedback. Please give us feedback.
5 That's important for us to know what the issues are or,
6 you know, ideas on how to do things better.

7 So, with that, I think -- thank you very much
8 for attending, and this meeting is adjourned.

9 (Applause)

10 (Whereupon, at 4:55 p.m., the meeting was
11 concluded.)

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5