

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

- - - -

BRIEFING ON STATUS OF MEDICAL USE
ACTIVITIES

- - - -

PUBLIC MEETING

Nuclear Regulatory Commission
One White Flint North
Rockville, Maryland

Friday, January 22, 1993

The Commission met in open session, pursuant
to notice, at 2:00 p.m., Ivan Selin, Chairman, presiding.

COMMISSIONERS PRESENT:

IVAN SELIN, Chairman of the Commission
KENNETH C. ROGERS, Commissioner
FORREST J. REMICK, Commissioner
JAMES R. CURTISS, Commissioner
E. GAIL de PLANQUE, Commissioner

STAFF SEATED AT THE COMMISSION TABLE:

SAMUEL J. CHILK, Secretary

WILLIAM C. PARLER, General Counsel

JAMES TAYLOR, Executive Director for Operations

HUGH THOMPSON, DEDO

ROBERT BERNERO, NMSS

CARLTON KAMMERER, Director, Office of State Programs

RICHARD CUNNINGHAM, Director, Division of Ind. & Med.
Nuclear Safety, NMSS

VANDY MILLER, Assistant Director, State Agreements
Program

JAMES LIEBERMAN, Director, Office of Enforcement

JOHN GLENN, Chief, Med., Acad. & Comm. Use Safety Branch

P-R-O-C-E-E-D-I-N-G-S

2:00 p.m.

CHAIRMAN SELIN: Good afternoon, ladies and gentlemen. The Commission is pleased to be here to receive a briefing from the NRC staff concerning the regulation of the medical use of byproduct materials.

In connection with this briefing, the staff has provided the Commission an information paper, quite a long and thorough paper called "Aspects of the National Medical Use Program Related to Prevention of Misadministrations." Copies of this paper are available at this time in the conference room.

Today's briefing will include a discussion of current regulatory practices of the NRC and the agreement states directed to prevent medical misadministrations. The briefing will also address issues raised in this area by the series of articles published in the week of December 13th in the Cleveland Plain Dealer.

It goes without saying that the Commission is intensely interested in this matter and we're greatly concerned that our regulatory program meet both the test of public scrutiny and the need for health and safety protection. As a matter of fact, our concern about the program lead to Commission-initiated review starting last

1 topics will be the overall plans at different levels and
2 different time periods for continuing and sharpening this
3 evaluation.

4 Commissioners, do you care to make any
5 point?

6 Mr. Taylor?

7 MR. TAYLOR: Good afternoon.

8 Mr. Chairman and Commissioners, I'd like to
9 introduce those at the table. Jim Lieberman from the
10 Office of Enforcement, Vandy Miller and Carl Kammerer
11 from the Office of State Programs, my deputy for this
12 area Hugh Thompson, from the Office of NMSS, Bob Bernero,
13 Dick Cunningham and John Glenn. We're all involved in
14 this program and I thought we'd get the widest
15 representation we could specifically for questions.

16 Mr. Chairman, you noted the extensive paper
17 which is available at the entrance to the meeting room.
18 This paper was a culmination of weeks of effort. But I
19 would like to emphasize that some of the material was put
20 together over a period of just several weeks and
21 particularly with the agreement states and some of the
22 numbers were obtained telephonically and through fax.
23 So, I think these have to be looked at in the view of
24 further verification by the agreement states as this
25 paper gets distributed.

1 CHAIRMAN SELIN: That's reasonable, but it
2 was very useful even in a preliminary stage to have those
3 numbers available.

4 MR. TAYLOR: That's right. I would
5 appreciate if the Commission would look at those in a
6 more preliminary sense. It was a great effort
7 particularly to the agreement states, which are 29, and
8 to try to put a sensible paper together.

9 With that opening thought, we'll go into the
10 detailed portion of the briefing and Bob Bernero can
11 begin.

12 MR. BERNERO: Thank you, Jim.

13 Members of the Commission, today we're
14 discussing the medical use program, but particularly
15 related to misadministrations in the practice of
16 medicine.

17 (Slide) May I have the first slide, please?

18 We have an outline in the slides that covers
19 two pages. For starters, I hope to cover the key
20 milestones in the current medical use regulatory program
21 because I think they set an important context for the
22 Commission and the members of the audience to understand
23 the purpose of the program and the guiding policy of it.
24 I will also cover our efforts to identify, evaluate and
25 to prevent misadministrations. Then Carl Kammerer will

1 cover the state programs. Recall that with evolution
2 over the years we now have approximately twice as many
3 medical licensees in the agreement state programs as we
4 have in our own program.

5 (Slide) Then we will return -- I will
6 return to discuss the misadministration issues raised by
7 the Plain Dealer and then on that second outline slide
8 you can see I will then speak to the reevaluation
9 initiative, some of which you referred to, Mr. Chairman,
10 and the observations for further consideration. Our
11 Commission paper, which is available at the door, ends
12 with observations, not really conclusions but
13 observations of things that are going on, evaluations and
14 there are some very important points to be made in that
15 portion of the briefing.

16 CHAIRMAN SELIN: Before you go on, Mr.
17 Bernero, I failed to note, I'm sorry, that there are a
18 couple of other public meetings to be held in the next
19 two weeks in this series. Next week we will be receiving
20 a report from the investigation of the incident in
21 Indiana, Pennsylvania and some related investigations and
22 the week after that we'll be briefed by our Advisory
23 Committee on the Medical Use of Radioisotopes. So, we'll
24 have these other two meetings scheduled and eventually
25 we'll have a --

1 MR. TAYLOR: There's also a meeting with the
2 agreement states.

3 MR. BERNERO: Yes, a week from today.

4 MR. TAYLOR: Right. That's the 29th.

5 MR. BERNERO: The 29th.

6 CHAIRMAN SELIN: So, this one meeting,
7 although very important in itself, is even more important
8 as one of a number of building blocks in this overall
9 program.

10 MR. BERNERO: Part of the set, yes.

11 (Slide) If I could have slide 3, the key
12 milestones, there are three milestones over the last 14
13 years that I think reflect the NRC's policy and
14 requirements for the identification and reduction of
15 errors resulting in misadministration.

16 The first of these is the 1979 medical
17 policy statement. That policy statement was quite a lot
18 of work in development and it basically set out three
19 principles, that the NRC would regulate to provide for
20 the radiation safety of workers and the general public as
21 distinct from patients. Secondly, that the NRC would
22 regulate to provide radiation safety of the patient where
23 risk warranted it and where extant practices were
24 inadequate. You know, practices for control of
25 procedures with patients. Lastly, the third principle

1 was that the NRC would recognize but minimize intrusion.
2 The NRC was consciously trying to avoid excessive
3 intrusion into the practice of medicine. Obviously
4 regulating the field is going to constitute some
5 intrusion nonetheless.

6 Now, a second milestone actually took a
7 longer time to develop. In 1980, the first
8 misadministration reporting rule. It actually started in
9 the 1970s, in the early 1970s under the AEC and through
10 the transition from AEC to NRC and then through the
11 incidence, particularly the Riverside Hospital incident
12 in 1976, a great deal of attention was put on this and
13 finally by 1980, in concert with the development of the
14 policy statement of 1979, the first misadministration
15 rule was put out. It basically set down a standard for
16 when a misadministration should be reported, whether
17 diagnostic or therapeutic misadministration, and it also
18 included perhaps the most controversial part, was a
19 requirement to notify the attending physician and the
20 patient unless the attending physician made a medical
21 judgment that the patient should not be notified for
22 medical reasons.

23 The third milestone is the most recent one
24 and it is listed here on this slide as the 1992 quality
25 management program. It actually became effective January

1 27th, 1992. That rule, which we call the shorthand QM
2 rule, represented the culmination of an extensive debate
3 about how NRC should regulate medical practice and I
4 think it's best to define it in a very simple way. It is
5 the NRC requiring a rigorous formal program on the part
6 of the licensee to minimize errors and that we would, by
7 requiring that program, then have the ability to inspect
8 and to hold the licensees to compliance with or adherence
9 to the program they set. We don't set down a
10 prescription of how to practice medicine, the licensee
11 does. But the important thing is that there is a program
12 that has rigor, procedures, requirements and that we then
13 have a basis to say, "Say what you intend to do and do
14 what you intend to do."

15 Another point that was important in the '92
16 milestone was that there was a sharper focus on the
17 higher risk procedures, the definition of
18 misadministration and reportable misadministrations was
19 focused on the therapy and large diagnosis doses where
20 you have significant consequences possible.

21 (Slide) May I have slide number 4, please?

22 Now I'd like to discuss the NRC efforts for
23 identification, evaluation and prevention of
24 misadministrations, starting with the way we identify
25 them.

1 As I just said a few moments ago, back in
2 the 1970s we debated long and hard about how to identify
3 or hear of misadministrations and we set up a
4 misadministration reporting requirements rule and we have
5 been trying to make that framework for reporting clearer
6 and clearer, more sharply focused for these years since
7 1980 and that, in fact, is why we changed the definition
8 of misadministration in the 1992 QM rule to focus on
9 high-risk or high-impact procedures.

10 We also have a variety of techniques,
11 including the review of records at the facilities and
12 interviews of licensee staff. We inspect and often check
13 records and can discover the records of procedures that
14 perhaps should have been identified and as in all of the
15 things that we regulate, there is a process by which
16 allegations are raised. In all of our licensed activity,
17 allegations will come up from time to time and we follow
18 these allegations. We follow up by inspection or
19 investigation if need be and that can involve records
20 checks, that can involve interviews with licensee staff.
21 In other words, there are a number of pathways by which
22 we can discover misadministrations that should have been
23 reported.

24 Nevertheless, I would be compelled to say,
25 we have no qualms in saying there are probably

1 misadministrations that aren't reported. Our yield of
2 reports is certainly not 100 percent. One of the things
3 I would just register here as an aside, under the new QM
4 rule we're getting reports of more misadministrations
5 already. The rigor of the QM rule is now narrowing the
6 focus to a treatment by treatment basis rather than the
7 entire campaign of treatment for a patient. In other
8 words, if a patient is supposed to get 2,000 rad to a
9 tumor and the first application of 500 rad is mistakenly
10 made 800 rad, it's still within the ultimate
11 prescription. But under the new regulations, under the
12 new procedures, there has been an exceedence and that
13 would be reported and we're beginning to see reports like
14 that.

15 So, we're looking deeper and we're
16 identifying more misadministrations in that fashion.

17 COMMISSIONER REMICK: Bob, to help me
18 understand some of the things you just said, I assume
19 when you were talking about looking at records and
20 reports and inspections, you were referring to the NRC
21 licensees, not agreement state, or are you --

22 MR. BERNERO: Oh, yes, yes. Actually --

23 COMMISSIONER REMICK: It would be helpful in
24 making your statements if you --

25 MR. BERNERO: Okay. I'll try to do that.

1 Much of what I say applies to both NRC and agreement
2 states. But as a matter of practice, what I'm saying
3 about the particulars of inspection or enforcement
4 applies to NRC licensees and Carl will be giving the
5 corollary information on the agreement state licensees.

6 COMMISSIONER CURTISS: Bob, before you go
7 on, would it be fair to say that in paraphrasing what
8 you've just told us, that under the recently adopted QM
9 rule that you have a greater confidence than we had in
10 the past that when an administration occurs,
11 misadministration occurs, as we now define that under the
12 QM rule, that that will actually be reported and hence
13 the database that we have is one of high credibility?

14 MR. BERNERO: I would say that in my
15 personal opinion that is the case. The greater rigor
16 that comes with that rule and the greater specificity by
17 going to the licensee's own procedures and treatment by
18 treatment rather than whole campaign. I think that will
19 give us a greater rigor of reporting and then, of course,
20 the treatment by treatment simply adds to the number
21 because in the previous regime a licensee might have
22 defined an initial treatment of 800 rad as simply a
23 correctable thing. Change the prescription to be 800 and
24 then divide up the remaining 1200 rad and the patient
25 ultimately receives still 2000 rad.

1 COMMISSIONER CURTISS: Second question. Is
2 there any evidence to suggest here, at least under the
3 new QM rule, that misadministration reporting is less
4 than we would like to see because of the terminology that
5 we have used, the use of the term "misadministration"?

6 MR. BERNERO: I'm not sure -- there has been
7 a lot of adverse reaction to misadministration rather
8 than what we use elsewhere, a reportable event. We've
9 had a debate on whether we should call them reportable
10 events or misadministrations. But I don't know of any
11 evidence that they are not reported because of the name,
12 of the pejorative implication of the name.

13 COMMISSIONER CURTISS: Okay.

14 MR. BERNERO: (Slide) If we go to slide 5,
15 we have the efforts to evaluate misadministrations. I
16 would just recall for the Commission that when we look at
17 a misadministration our primary objective, according to
18 our own policies, is to discover the root causes so that
19 whenever information may be gleaned from this event is
20 used to prevent the occurrence of other similar events,
21 generic issues, weaknesses in practice, whether licensing
22 practice or regulatory practice.

23 Now, we have a scaled response to the
24 evaluation of misadministrations. When they are
25 reported, we set up inspections and those special

1 inspections can range from, oh, simply having the
2 regional inspector go out there ahead of the usually
3 scheduled inspection to check on things or sometimes
4 these are for more serious events, they are escalated to
5 include either an augmented inspection team, sometimes
6 happens, or now the one that was mentioned earlier, the
7 incident investigation team for the Indiana, Pennsylvania
8 event. There, of course, a death was involved. It was
9 a very grave occurrence and we established an incident
10 investigation team and that's consistent with the
11 management practices for event follow-up that we have.

12 Now, we generally look to the engagement of
13 medical consultants. We have used medical consultants
14 for many years and especially on a more complicated or
15 serious misadministration we engage one of our medical
16 consultants to assist and they assist in the
17 investigation, they identify any special expertise we
18 might need to understand the significance of the event or
19 the complications of the event and they are a valuable
20 adjunct for consultation with the other physicians
21 involved. You know, the licensee and other related
22 medical authorities. They are not and have never been
23 used by us as an evaluation to second guess or reevaluate
24 whether the prescribed dose was the right prescribed dose
25 or to say would they follow this regime of treatment or

1 not. They're not for that purpose. Their medical
2 expertise is applied to our understanding the event and
3 its causes.

4 Now, we have in the past also, by just
5 custom, often used them to communicate with affected
6 people. Now, our rules require that the licensee notify
7 the referring physician and the patient subject to the
8 conditions in the regulations and we often communicate
9 using our medical consultants. When other people are
10 exposed, that's a very difficult issue. That is the case
11 in Indiana, Pennsylvania. You'll hear more about this
12 later.

13 Other people, not the patient, not the
14 doctor, but people nearby, attendants in the nursing home
15 or truck drivers or other people, are inadvertently
16 exposed to radiation and you get into a system where you
17 need to notify those people. We use our medical
18 consultation service to assist those people who may have
19 been exposed to determine the significance of the
20 exposure they suffered. You know, if someone received
21 100 or 150 rem whole body dose inadvertently, there are
22 blood tests that can be run to determine medical needs
23 that would ensue from that kind of a dose. So, the
24 medical consultants often have that role.

25 I would make the observation here, I'll come

1 back to it later, that although we have used medical
2 consultants for many, many years, I don't think we have
3 all that clear a discipline or statement of requirements,
4 what is your job, what do we expect from you, what is
5 your role, what are the limits on your role and so forth.
6 That's one of the things that's coming out of all these
7 investigations, that we are not too sure what we're
8 asking for and certainly the medical consultants are
9 often not too sure what we're asking them to do.

10 COMMISSIONER de PLANQUE: Bob?

11 MR. BERNERO: Yes.

12 COMMISSIONER de PLANQUE: Before you go on,
13 is there always a process or is there a procedure for
14 follow-up on the fate of the patient or others exposed in
15 terms of harm or death?

16 MR. BERNERO: No, I would say it's not a
17 clear procedure or follow-up on the fate of anyone
18 exposed, either in medicine or in other activities.
19 There is a general process of discovering the
20 consequences. In the previous memorandum to the
21 Commission where we discussed the Riverside Hospital
22 events, our medical consultants followed up for I believe
23 two of the deaths and then it was going on and on and
24 there was an exchange of debate.

25 This was a very grave event. No one ever

1 questioned that. It was a whole series of
2 misadministrations and it was clearly capable of going as
3 far as causing death. The medical follow-up by NRC
4 stopped after about two or three of those fatalities.
5 Other fatalities ensued and I think the ultimate follow-
6 up, it's a number close to 16 or 18 deaths in that one
7 set. But NRC --

8 CHAIRMAN SELIN: I might just correct you
9 for the record. According to Doctor Polycove's report,
10 there were ten deaths where the radiation was clearly at
11 least a complication and then 18 more where there were
12 signs of radiation damage but not necessarily contributed
13 to the death. Very large numbers.

14 MR. BERNERO: Yes. Yes. It depends on how
15 one would bin them. Of course, these are all cancer
16 patients, and so there are deaths that are clearly not
17 attributable, deaths that might have had some
18 contribution from radiation and deaths that are clearly
19 related to the radiation.

20 CHAIRMAN SELIN: I realize this event was a
21 long time ago, but I was struck by the independence with
22 which the medical consultant made major decisions about
23 whether to follow up and how to follow up, apparently not
24 under supervision from the NRC. I mean beyond the
25 medical question about what happened versus how long to

1 keep up and who to talk to about this. I assume that
2 wouldn't happen again.

3 MR. BERNERO: Well, again, I think we're
4 troubled by the ambiguity of what do we expect the
5 medical consultant to do and what do they expect us to
6 obtain from them. This is quite a bit different from
7 medical misadministration, but there's a very good case
8 in point. The last incident at Sequoyah Fuels released
9 oxides of nitrogen to the atmosphere. You were briefed
10 on that not long ago. In the emergency response follow-
11 up, I was involved with the region and AEOD on how do we
12 do the emergency response and we talked to EPA and the
13 state authorities and everybody. We ended up getting
14 medical consultants out to the field to provide technical
15 assistance on the physical or clinical effects of oxides
16 of nitrogen. Frankly, I don't think any of us had a
17 clear idea of what we were doing. We just felt like we
18 ought to help and we were providing assistance to the
19 state and local authorities.

20 I think what you see there as well as in the
21 medical field is a lack of a clear role, lack of a clear
22 definition.

23 MR. THOMPSON: That's true. Mr. Chairman,
24 I can assure you that the oversight that we give today to
25 these types of incidents are quite a bit more -- we're

1 sensitive to these type issues with respect to follow-up
2 and we would clearly be in consultation with the region
3 and with the team if, in fact, it had to be an IIT or
4 AIT. With respect to guidances, how far they went up in
5 particular with the case in Indiana, we were there giving
6 some directions and concurring with the role that Doctor
7 Flynn played in that role. So, we would have a lot more
8 dialogue than occurred I think in the Doctor Sanger case.

9 MR. BERNERO: Yes. That's --

10 MR. TAYLOR: And, of course, the regulations
11 now require going through the referring physician and
12 assuring these patients are informed too.

13 MR. BERNERO: Yes.

14 MR. TAYLOR: That did not exist at the time
15 of Riverside.

16 CHAIRMAN SELIN: Commissioner Curtiss?

17 COMMISSIONER CURTISS: Just two observations
18 on this question of using medical consultants, and I do
19 think there are two separable issues here.

20 As I understand the Agency's practice, we
21 turn to the use of medical consultants to give us a
22 perspective on a particular event that we might not be
23 able to obtain given the expertise of the staff here
24 within the agency. In my view, that's a commendable
25 thing to do. Some of these events involve issues that I

1 think necessitate going to a member of the fraternity or
2 sorority, the medical community if you will, to ensure
3 that we fully understand the events and deal with the
4 sensitivities that we have talked about and that your
5 paper addresses in some detail.

6 The first issue I guess I see is that
7 there's a careful balance to be struck between ensuring
8 that we have somebody who is able to bring that expertise
9 to a particular event and give us an evaluation that is
10 reflective of a contemporaneous expertise that the
11 individual has in the medical community. I'm not Oak
12 Ridge is capable of doing that in every case and the
13 medical consultants provide us with that expertise.

14 But the balance, it seems to me, to be
15 struck here and the purpose that we retain a medical
16 consultant for, at least we have used them in this
17 context in the past, is for them to give us an objective
18 assessment of what occurred in a particular event so that
19 in carrying out our regulatory responsibilities we can
20 then take that objective assessment and act accordingly.
21 I guess my sense has been that there are instances where
22 it's difficult to separate one's role in the medical
23 community and perhaps an unwillingness to be objectively
24 critical in the context of evaluating the particular
25 event from our desire to have that kind of objective

1 evaluation.

2 So, it's a judgmental question that it seems
3 to me needs to be addressed in the context of each
4 specific case where we retain a consultant to ensure that
5 we have somebody who has the sufficient expertise, but at
6 the same time is able to step out of the role that he or
7 she plays in the medical community, a practicing doctor
8 in many cases, and give us an objective and, if
9 necessary, critical evaluation of the event. I'm not
10 sure that's been done in every case in the context of
11 some of the reports that I have read.

12 Secondly, it seems to me, and Bob I think
13 you touched on this point squarely, that the issue of
14 defining the procedures, of defining the groundrules that
15 govern or guide the conduct of the medical consultants is
16 a matter that probably deserves further attention. I
17 have read the recent letter, in fact I just received it
18 today, from Doctor Sanger that details laying out in some
19 detail -- actually, it's a letter to the Chairman, I
20 should say, that lays out in some detail areas where he's
21 concerned that the procedures haven't been fully
22 explicated. It seems to me that question as well, and I
23 hear you saying, deserves some further attention if we
24 can define in greater detail what the groundrules are.

25 Here, in the case of one who we have used

1 over several years, there's some evident lack of
2 understanding as to what those rules are and perhaps
3 that's something we can address.

4 MR. BERNERO: Yes. I might just add,
5 there's a job of work in our shop that is suspended
6 because the project manager is on the IIT for Indiana,
7 Pennsylvania and it arose from the previous IIT and it
8 does involve the role of the medical consultants and this
9 is notifying people other than the patient. The Amersham
10 IIT was a radiation source that was loose in shipment.
11 There was no licensee directly involved in it. We ended
12 up backtracking and reconstructing doses to people all
13 over the country and we used our medical consultants to
14 communicate with those people, to inform them of their
15 radiation exposure and for whatever medical attention
16 they needed, blood tests and so forth, through their
17 companies, like the truck drivers.

18 CHAIRMAN SELIN: If you'd just stop for a
19 second, I'd add another category to Commissioner Curtiss'
20 analysis. It's sort of included in the first point. But
21 traditionally, as far as I can see, we've used the
22 medical consultants to help us in our regulatory effort,
23 but now we seem to be moving and I think it's probably
24 the right direction to use the medical consultants more
25 or less the way you discussed, Mr. Bernero, which is to

1 reconstruct not only enough cases to figure out that a
2 failure was made and either a licensee has failed to do
3 his job or our regulation needs improvement, but to go to
4 the point of looking at each individual that was exposed
5 and at least get some assessment of how much radiation
6 and perhaps how much damage at that point to turn over to
7 the physician and his or her -- I mean the patient and
8 his or her physician.

9 MR. BERNERO: Yes. Well, we use the
10 consultant there, but we also have expertise in staff to
11 reconstruct the doses, the health physicists who do that.
12 But again I would go back and be the first to admit that
13 we need to define the role, the responsibilities much
14 more clearly than we have now. There's too much ad hoc
15 decision making.

16 COMMISSIONER REMICK: Bob, before you leave
17 that, going back to my earlier question, has there ever
18 been a case where we have an NRC-initiated special
19 inspection use of medical consultants or review licensing
20 reports in agreement states, NRC initiated, or do we
21 leave that to the responsibility of the agreement states?
22 I assume it's that.

23 MR. BERNERO: To my knowledge, we've never
24 done an IIT or unique thing. We provide technical
25 assistance. I'll let Carl answer it.

1 MR. THOMPSON: Just to mention, we do have
2 some federal licensees in agreement states.

3 COMMISSIONER REMICK: That I understand.

4 MR. THOMPSON: You're talking about the
5 agreement state licensees.

6 COMMISSIONER REMICK: Right.

7 MR. KAMMERER: We don't know of any.

8 MR. BERNERO: Yes. We will provide
9 technical assistance from time to time which includes
10 special inspection or technical support in hearings or
11 something like that, but I know of no --

12 CHAIRMAN SELIN: We should point out that
13 this Indiana, Pennsylvania was the first time we've ever
14 done an IIT for a medical licensee agreement state or
15 direct licensee period.

16 MR. TAYLOR: That's correct.

17 MR. BERNERO: (Slide) May I have slide 6,
18 please, Jim?

19 In our efforts to prevent
20 misadministrations, we of course have regulatory
21 requirements that would set the discipline for the
22 medical practice. Here I would just like to emphasize
23 once again the quality management rule. I really think
24 that a quality management rule, after all of the
25 controversy we had with it, in the long run will be

1 looked upon by both sides, by us and by the regulated
2 community as a sound process, a sound procedure because
3 it challenges the medical community to set the standards,
4 to set the procedures or requirements and then to adhere
5 to them, to implement them fairly and rigorously.
6 That's, in my view, the primary way to prevent
7 misadministrations within human frailty limits.

8 We, of course, have inspection and we will
9 continue to use that. Training, part of our inspection,
10 it's an important part of our inspection, is to make sure
11 that the licensees not only specify the training required
12 but that it's there, that personnel turnover doesn't
13 undermine it, that they have people currently trained in
14 the procedures with the equipment that they have. I
15 think you will hear a dramatic demonstration of the
16 difference of training when you hear that IIT report
17 because there are actually two events in it.

18 On the enforcement --

19 COMMISSIONER REMICK: Excuse me, Bob. How
20 do we determine the adequacy of the training? Is it
21 something that they specify and then we inspect to see if
22 they are carrying out what they specify or do we have
23 regulatory mandated --

24 MR. BERNERO: It's some of both.

25 COMMISSIONER REMICK: -- ours?

1 MR. BERNERO: Yes, it's some of both. We
2 have training and qualification requirements in the
3 regulations and, in fact, that in itself is an area of
4 some debate about how far should we go, what sort of
5 training. We have chronic arguments with some members of
6 the community that we demand too much, cardiologists are
7 too busy to do certain kinds of training or something.
8 So, we have certain specified training requirements and
9 they need to be established and validated. But also,
10 there's very important training in specific equipment,
11 especially nowadays. Medical devices, some of them are
12 very complex. It's not a simple teletherapy machine with
13 a shutter and it opens and closes with a timer. They're
14 much more complex.

15 Now, if I could turn to slide 7 --

16 CHAIRMAN SELIN: Before you go --

17 COMMISSIONER ROGERS: You didn't say
18 anything about the enforcement program.

19 MR. BERNERO: Yes. I'm going to talk about
20 the enforcement program on slide 7.

21 CHAIRMAN SELIN: Before you go on, one way
22 of rephrasing what you just said about the QM approach is
23 that we rely on the licensee to establish a program,
24 presumably some program we can review for adequacy and
25 then we audit his performance against that program. Do

1 we go a step further? Do we have an independent way to
2 check on a sample basis the misadministration reporting?
3 Do we depend entirely on the licensee's reporting of
4 misadministration and rates or do we have some type of
5 audit on that?

6 MR. BERNERO: Well, as I said earlier, we
7 have an inspection process that might discover -- if they
8 record the procedure, we have an inspection process that
9 could discover an unreported misadministration, but
10 that's only if they recorded it. Then there is also the
11 allegation process, which is not uncommon to have an
12 allegation that something happened and they didn't record
13 it either. We have a mechanism to follow up on that.

14 (Slide) Now, the enforcement program, I
15 want to move to slide 7 because I think it warrants a
16 particular attention. There are two underlying
17 principles of our enforcement program and this is not
18 unique to medicine, but if I would say it in a manner
19 specific to medicine, we want to encourage licensees to
20 prompt identification and lasting corrective action.
21 That's principle number one. This is the identification
22 of misadministrations, of course reporting them. Then we
23 want to deter them by using sanctions. This is the idea
24 of setting up the lesson for others, the lesson for
25 others to see.

1 We do have escalated enforcement in the
2 medical arena and medical activities using the medical
3 circumstances, over exposures of patients or significant
4 potential over exposures of patients, loss of control of
5 sources in particular. You know, you get these high
6 radiation sources if for some reason or other the proper
7 safe control of the source is lost.

8 Misadministration for failure to follow a
9 procedure. We had an unfortunate misadministration at
10 Tripler Army Hospital in Hawaii where a procedure called
11 for the technician to verify that a woman patient was
12 neither pregnant nor nursing. Due to distraction and --
13 they had a procedure. There was no question. The
14 hospital had a procedure, the technician was following
15 it. There was a distraction and the investigation
16 revealed that he went back to the wrong step or never got
17 back to it. He failed to ask the question, "Are you
18 nursing a child?" A large dose of iodine was
19 administered and since the mother was nursing a child,
20 the child's thyroid was severely damaged, in fact
21 destroyed, in that misadministration.

22 So, we have escalated enforcement and had it
23 there for failure to follow procedures. It's a forecast
24 of the QM rule, willful violations or what is sometimes
25 discovered, breakdown of control, breakdown of

1 management. Many times a single event may betray this,
2 but sometimes our inspections will betray it. You go
3 into a facility and you find that the radiation safety
4 officer isn't really doing the job or the radiation
5 safety committee isn't doing the job and there's a host
6 of small events, each one not a very big event but in the
7 aggregate what it betrays is a breakdown of management
8 control. So, we get into escalated enforcement there too
9 in medical licensees.

10 Now, we are reconsidering the civil penalty
11 assessment process. We're trying to focus on the root
12 cause and we think that the enforcement process we have
13 is reasonably effective, but we are consulting with
14 others, in particular the Advisory Committee on the
15 Medical Use of Isotopes. We're hearing views from them
16 that, "Well, the dollar value of civil penalties really
17 isn't that big a dollar value when you're a big licensee.
18 It's more the press coverage or the bad image, the press
19 release that hurts more than the dollar." Of course, in
20 other licensing cases, that's often the case.

21 We're reconsidering the whole enforcement
22 process, what we should do, how we should put these
23 sanctions out. It's not clear to me at this time. Jim
24 Lieberman is here and could speak with greater expertise
25 about what the prognosis might be. But I would just

1 leave it myself as it's under reconsideration and it is
2 a very significant and a knotty problem.

3 MR. THOMPSON: I would just say the ultimate
4 enforcement action is obviously to suspend the license
5 for those facilities for which we really have not --

6 CHAIRMAN SELIN: But I don't wish to ask any
7 body to try to guess what the changes will be, but I
8 think it would be useful, Mr. Lieberman, if you'd just
9 take a minute to talk about the two or three points in
10 the current enforcement process that you think -- not the
11 conclusions but where you think there are potential
12 weaknesses that are to be reexamined. What are the
13 symptoms that lead you to do this reexamination?

14 MR. LIEBERMAN: Currently we use civil
15 penalties as the basis for our escalated enforcement
16 actions. Most of our civil penalties, as Mr. Bernero
17 said, are not very large for some relatively large
18 institutions. Civil penalties have been effective for
19 many cases to get lasting corrective action, primarily
20 because of the negative publicity. The question that
21 we're looking at is whether there should be a greater
22 financial impact on civil penalties with the hope that
23 that might provide a greater deterrence for other
24 licensees to improve their performance and therefore
25 maybe expend the resources and the effect to look at

1 their programs, to improve their performance before
2 incidents occur or before we have inspections. So, for
3 the larger licensees, we are looking at the question of
4 whether we should have larger civil penalties.

5 Now, the medical community has suggested
6 that instead of civil penalties we use some form of
7 probation to get the attention of licensees who need to
8 improve their performance. We'll also look at that as we
9 look at the mix of ways we can improve sanctions to get
10 the attention of the poor performers in advance of an
11 actual incident.

12 CHAIRMAN SELIN: Commissioner de Planque?

13 COMMISSIONER ROGERS: I'd just like to say
14 something on this. I hope you'll look very hard at what
15 ways that you can escalate enforcement and be very tough
16 in addition to dollar amounts. It seems to me there's a
17 very serious question of whether it isn't
18 counterproductive on these large -- to consider large
19 civil penalties when the cost of medical treatment
20 already is very, very high, and whether that, in fact, is
21 really serving the public interest. There's no question
22 in my mind that when enforcement must be escalated it
23 really should take place.

24 I have a serious question personally about
25 large dollar penalties in terms of the impact on the

1 ability of that hospital, if it's usually a hospital, to
2 deliver health care in other areas. It seems to me that
3 it's very easy to take a shortcut here and hit them with
4 a very large civil penalty, but I think that in dollar
5 terms that in fact may seriously negatively impact the
6 ability of that facility to deliver health care in other
7 areas. It seems to me we ought to be aware of that
8 because the whole question of the cost of health care is
9 a very, very big issue today, as you know, and this is
10 something I think we ought to be alert to.

11 MR. LIEBERMAN: I think that's a good point.
12 Currently the civil penalties for a medical institution
13 is relatively low and in part because we're considered
14 the non-profit nature of the hospitals. We wouldn't be
15 considering increasing the civil penalties for the
16 smaller institutions, it would be for the larger broad-
17 scope licensees. But I think your point is a good one
18 that we'll definitely have to consider.

19 COMMISSIONER REMICK: I share in
20 Commissioner Rogers' reservations about large dollar
21 penalties. The logic of what the staff just presented
22 led me to conclude that you would probably say a larger
23 press release was a -- but if that's the greatest impact,
24 and I believe it probably is, the publicity, certainly it
25 seems to me logic leads us to consider are there other

1 penalties besides dollars that might be a better
2 deterrent. Dollars is the easiest thing for us to think
3 about, but there might be innovative ways of doing it.

4 CHAIRMAN SELIN: Well, we're not going to
5 prejudge what your answers are, but we are very
6 interested in what you see the problem was. In fact, I
7 sort of heard you say that you have the feeling that the
8 impact on the organization which is singled out, whether
9 it's the publicity or the dollars, is pretty strong, that
10 you don't get a lot of recidivism from individual
11 organizations.

12 MR. LIEBERMAN: That's correct.

13 CHAIRMAN SELIN: So, you seem to be
14 suggesting that you're concerned about the deterrent
15 effect on other organizations rather than the return to
16 the given -- poor behavior by the given licensee. Did I
17 misunderstand that?

18 MR. LIEBERMAN: No, you're entirely right.
19 It's relatively rare that once we have a civil penalty
20 that that same licensee within a few years would have
21 another significant issue. We do regularly inspect
22 licensees once they've had a civil penalty to make sure
23 that corrective action has been effective. So, at least
24 for a few years anyway, the performance almost always
25 improves, which is the purpose.

1 MR. BERNERO: I'd like to turn it over to
2 Carl Kammerer now to cover the agreement state aspects of
3 the program.

4 CHAIRMAN SELIN: Okay. Hold on.

5 COMMISSIONER CURTISS: I have a question.
6 I apologize for going back to the previous issue. It's
7 not on the enforcement question, but on this issue of the
8 extent to which we have confidence that
9 misadministrations, if they are occurring, are reported
10 to the agency. It's the question the Chairman raised on
11 the earlier graph.

12 Bob, I understood you to say that if a
13 misadministration occurs that is not reported, we
14 wouldn't know about that and we probably wouldn't have
15 any way of getting at that issue today. Would you expand
16 on that?

17 MR. BERNERO: No, no. I wouldn't guarantee
18 it, but there's an alternative. If it's not reported and
19 it's an event that should be reported, it is possibly in
20 the hospital records and subject to discovery by
21 inspection, that, "Why didn't you report this?" In
22 addition, even if it's not recorded and subject to
23 discovery that way, it is not uncommon to have an
24 allegation that a concerned person, a staff member or
25 someone who is aware of it raises an allegation with the

1 NRC and we pursue the allegation and if need be conduct
2 an investigation --

3 COMMISSIONER CURTISS: Okay.

4 MR. BERNERO: -- and discover it that way.
5 I don't know how many are undiscovered. I don't know how
6 I can know that. It's just that, as I said, I think the
7 process is already sufficiently sensitive to start
8 picking up the new kinds of reports that we're getting
9 with the QM rule --

10 COMMISSIONER CURTISS: Yes, I was going to
11 emphasize on that point because I think the QM rule
12 establishes a pretty airtight process that will enable us
13 if we have the inspection resources and focus on the
14 question, first, and second if the RSO is carrying out
15 his or her responsibilities that we've got a pretty
16 airtight process in Part 35 to identify instances where
17 misadministrations are occurring if they're not getting
18 reported. It's worth emphasizing because the impression
19 has been created, and maybe it was true several years
20 ago, that these activities are going on and we're not
21 aware of the events.

22 As I read Part 35, every -- Part 35.32 in
23 particular, every administration of a dose, not a
24 misadministration but every administration of a dose in
25 five specified categories has to be recorded by the

1 party, the licensee administering the dose. Those
2 records then have to be retained under (d)(1) of that
3 provision for three years, second. And third, there has
4 to be a mechanism in place for the licensee to audit
5 compliance where the RSO, I think, will play a
6 significant role to ensure that there aren't any
7 misadministrations and if there are they're getting
8 reported.

9 Unless we've got a problem with licensees
10 failing to prepare written directives, which is sort of
11 the entry into this set of provisions, unless the
12 licensees are not preparing written directives, it seems
13 to me that that mechanism in 35.32 is pretty airtight,
14 and on that threshold question of preparing a directive.
15 Now, frankly, it seems to me that our role is to audit
16 the work of the RSO in ensuring that those written
17 directives are actually prepared for every administration
18 as defined in 35.32.

19 MR. BERNERO: Well, I think the QM rule is
20 a very strong process because if the licensee is not
21 preparing written directives as required, that is, of
22 course, discoverable by inspection. Then, of course, if
23 they prepare them, then misadministrations are quite
24 readily discoverable by inspection.

25 CHAIRMAN SELIN: Our figures seem to show

1 that for every 10,000 therapeutic administrations there,
2 on average, are three misadministrations. It's a very
3 small number and it's also a very small sample. So, it
4 would be very hard to find misadministrations not
5 reported, except through procedural techniques such as
6 you're talking about as opposed to statistical sampling.
7 The cost would be astronomical to try to sample
8 administrations to see if it would be four or five to
9 10,000 instead of 3.

10 MR. BERNERO: Carl?

11 CHAIRMAN SELIN: Mr. Kammerer, you seem to
12 have the floor.

13 MR. KAMMERER: Thank you, sir.

14 Mr. Chairman, Commissioners, the first thing
15 I want to do is to improve upon the answer I gave to
16 Commissioner Remick. I was just handed a note from
17 Kathleen Snyder who says that technical assistance in the
18 misadministration case in Arizona, which you'll hear
19 about a week from today, was given, that medical
20 consultant for the NRC was asked to come out and do some
21 work there.

22 COMMISSIONER REMICK: No, my question was
23 NRC-initiated. I assume that if somebody asked us, we'd
24 be more than willing to help. I was just curious and I
25 was trying to distinguish from what Bob was saying, are

1 we talking about just NRC licensees or also agreement
2 states. I assumed he was talking again about NRC.

3 MR. KAMMERER: All right. Thank you.

4 Before we begin, I wanted to do just a brief
5 overview of the agreement state program. I'll be
6 covering the following topics: the scope of the agreement
7 state program; adequacy and compatibility; agreement
8 state reviews; reporting and exchange of information;
9 regional results of our reviews; and observations and
10 recommendations for future review. I'll be discussing
11 the information that we've collected from the agreement
12 states and as the EDO said at the beginning here, this is
13 the first time we've collected this information in one
14 place in a summary fashion concerning inspections,
15 enforcement, investigations and events reporting for the
16 agreement states.

17 In the area of misadministrations, the
18 agreement states, for the first time, were to have this
19 reporting requirement in place by April of 1990. So, the
20 1991 data is the first such compilation. We've gathered
21 this information in a very short period of time, since
22 mid-December, and I want to stress that it's unanalyzed
23 and raw data. If the data, however, says anything to us
24 in our current review, it is that we have to
25 institutionalize this reporting so that we can identify

1 trends in the agreement state and eventually compare them
2 with NRC data to identify generic situations. We also
3 intend to make this kind of information available to the
4 agreement states.

5 (Slide) The slide two shows the national
6 licenses. This is the scope of the national medical
7 license program. You can see it in the color up above
8 but not so much in your slides that the license category
9 for this program include the broad medical, community
10 hospital, private practice and clinics and teletherapy.
11 About 6,500 medical licenses in these categories
12 nationwide and the agreement states regulate 4,500
13 approximately.

14 As you can see from the red and brown, dark
15 colors, four of the states have the largest number of
16 medical licenses. They are agreement states in
17 California, Texas, Florida and New York.

18 Adequacy and compatibility. The Atomic
19 Energy Act requires the states to be adequate and
20 compatible before the agreement is signed for
21 discontinuance of the NRC authority. The agreement
22 states also agree to use their best efforts to maintain
23 a program that is adequate to protect public health and
24 safety and compatible with NRC program.

25 In the SECY paper 92-243, the compatibility

1 paper, the staff suggests that the issues of enforcement
2 and investigations be examined during the development of
3 this compatibility policy. So, states are evaluated
4 based upon guidelines or core criteria. The guidelines
5 were first published in 1981. They were updated again in
6 1987 and the most recent version of that was published in
7 May of 1992.

8 So, here are some of the core indicators
9 from which the 30 guidelines flow. As you can see up
10 there, the statutes and regulations, budget, management,
11 staff and training and so on. The guidelines include 30
12 indicators for evaluating agreement state program areas.
13 The indicators are separated into two categories.
14 Category 1 indicators address program functions which
15 directly relate to the state's ability to protect public
16 health and safety. Category 2 indicators are those areas
17 which have program functions that provide essential
18 technical and administrative support to the primary
19 functions.

20 In reporting findings, the Office of State
21 Programs indicates the category of each comment made. If
22 no significant category 1s are provided, this will
23 indicate that the program is adequate to protect public
24 health and safety. If one or more category 1 comments
25 are noted as significant, the state will be notified of

1 those deficiencies and that it may seriously affect the
2 state's ability to protect the public health and safety.
3 If a state fails to have compatible regulations within
4 the three year time frame, they will not be found
5 compatible.

6 NRC works with the Conference of Radiation
7 Control Program directors to put new regulations into
8 what is called suggested state regulations for more
9 adaptable use by the states.

10 (Slide) Slide 4 is the agreement state
11 reviews. Some of the items covered in the agreement
12 state reviews are the inspection findings, enforcement,
13 investigation and events reporting. We have reviews
14 every approximately two year cycle with a visit in
15 between those two. Office of State Programs provides
16 oversight and has internal procedures which are used for
17 evaluating the states for adequacy and compatibility.
18 The procedures set forth, the general objectives for
19 conducting the review, the procedures contain questions
20 asked of and information obtained from the states in
21 certain areas during the reviews. This information and
22 the adoption of regulations is used to determine the
23 adequacy and compatibility of the programs and their
24 compatibility with the Nuclear Regulatory Commission.

25 Review teams are always headed by the

1 regional state agreements officer and range in size from
2 one to eight members, depending on the complexity of the
3 issues and the size of the program to be reviewed. Teams
4 may include additional support from Nuclear Material
5 Safety and Safeguards, the regions, the Office of General
6 Counsel and also other state programs.

7 The following areas that we'll be looking at
8 are not matters of compatibility. However, they are
9 reviewed in terms of adequacy as we do our reviews of
10 each of the state radiation control programs.

11 Inspection is a category 1 indicator and
12 according to our review procedures an assessment is made
13 of the ability of the state to maintain an inspection
14 program adequate to assess the licensee compliance with
15 state regulations and license conditions. This
16 assessment is made by accompanying new inspectors on
17 their inspections, reviewing compliance files and noting
18 overdue inspections, among other items. When overdue
19 inspections are identified, the State Programs Office
20 requests that a state develop a plan to eliminate the
21 problem. This plan is reviewed and monitored and Iowa is
22 a recent good example of that procedure. They had a
23 number of overdue inspections and a lack of staff and the
24 state was required to formulate an action plan and to
25 make a monthly report to the NRC, to us. We in turn

1 reported that information to the EDO and progress is
2 being made on that.

3 COMMISSIONER REMICK: Carl, for
4 clarification, you're talking about going along with the
5 new inspector on some of their first inspection visits.
6 Our staff does that or we see that the state regulatory
7 body does that for new inspectors? That wasn't quite
8 clear.

9 MR. KAMMERER: It's both.

10 COMMISSIONER REMICK: Both. But we do
11 sometimes go out and observe their inspections?

12 MR. KAMMERER: Yes. In the case of Iowa,
13 we're doing that. It's more or less an OJT type
14 arrangement where our technical staff is going along with
15 their more junior staff and handling complex licensing
16 and inspection actions.

17 COMMISSIONER REMICK: Now, is this because
18 we've identified some deficiencies and we're trying to
19 help them get up to speed or is that something we would
20 routinely do as part of our oversight?

21 MR. KAMMERER: It's something we routinely
22 do and it's a part of our (d)(2) procedures that require
23 the state personnel to accompany their brand new people
24 and train their people and bring them adequately up to
25 speed as a competent inspector. But the other part

1 applies as well.

2 Additionally, in order to meet the review
3 criteria in this area of inspection frequency, the
4 agreement states inspection frequencies can be no less
5 than that of the Nuclear Regulatory Commission.
6 Agreement states make pre-licensing visits, depending on
7 the complexity of the license, potential hazard from the
8 licensee's facility or for a new license. For medical
9 licensees, over 2,000 inspections were performed over the
10 last reporting period. There was a small percentage in
11 overdue inspections and we calculated those to be about
12 two percent.

13 Another area that's covered in our
14 procedures is the enforcement area. It also is a
15 category 1 indicator. In evaluating the enforcement
16 program for the agreement states, the review criteria
17 indicate that the enforcement program should be
18 sufficient to provide substantial deterrent to licensee
19 non-compliance with regulatory requirements. The staff
20 reviews the state's enforcement letter filed to see, for
21 example, if enforcement letters are issued within 30
22 days. They have appropriate regulatory language and
23 clearly specify the areas of non-compliance. Specific
24 questions in the area address escalated enforcement
25 actions, civil penalties issued and the number of

1 enforcement conferences.

2 You'll note that 22 of the 29 agreement
3 states have civil penalty authority. Twenty-seven have
4 escalated enforcement, while 25 have severity levels.
5 The states have issued 103 civil penalties in the last
6 reporting period.

7 The investigation program, also a category
8 1 indicator covered in our internal procedures, all of
9 the agreement states have investigative functions as part
10 of their regulatory program. Office of State Program
11 procedures also include criteria for evaluating a state's
12 ability to handle incidents or alleged incidents. These
13 criteria include prompt evaluation to determine the need
14 for on-site investigation and clear documentation of the
15 incident and/or the allegation. Other questions in this
16 area address procedures for evaluating wrongdoing.

17 In 1989-'91 review cycle, the states
18 conducted 123 investigations, 32 of which resulted in
19 enforcement actions. Again, we will include both
20 enforcement and investigations in the compatibility study
21 coming up soon.

22 Events reporting is the next category. It
23 too is a category 1 indicator on our internal procedures.
24 States have adopted requirements for their licensees to
25 report certain events to the NRC, as shown on the next

1 slide.

2 (Slide) Reporting and exchange of
3 information. Internally here the NRC staff meets monthly
4 to discuss the events that occurred in NRC and agreement
5 state license programs. The licensees must report
6 significant events to the agreement states in accordance
7 with Part 20. In their agreement, signed by the Chairman
8 and by the Governor, states commit to share information
9 with the Nuclear Regulatory Commission. In addition, our
10 written communications with states encourage them to
11 report events to us. The states annually summarize all
12 events and transmit them to the Nuclear Regulatory
13 Commission.

14 Again, states have adopted NRC-related rules
15 and policies and through the routine reviews and other
16 communications throughout the year, states and NRC
17 routinely exchange information.

18 As you can see on this slide, we routinely
19 transmit PNs, information notices, bulletins out to the
20 states. We hold conferences on various subjects as the
21 need arises and involve the states in early rulemakings.
22 That is to say we involve the states early in the
23 rulemakings.

24 In the area of misadministrations, a total
25 of 480 were reported in 1991. Four hundred and sixty-

1 three were diagnostic, 17 were therapeutic. Out of
2 these, two therapeutic misadministrations were classified
3 as abnormal occurrences.

4 (Slide) Recent agreement state reviews,
5 looking at the chart there that shows how we reviewed the
6 states by region. On January 1st, 1993, 24 of the 29
7 states, approximately 83 percent, were found to be
8 adequate as of their latest review. In five or 17
9 percent, the finding was withheld.

10 COMMISSIONER REMICK: Carl, in that area,
11 how long do we allow ourselves to withhold the findings
12 of adequacy or compatibility before we would institute
13 proceedings to retain or restore our authority in these
14 areas?

15 MR. KAMMERER: In that case, we do not have
16 any written internal procedures, but in a judgment of
17 talking with the Chief Executive Officer, the governor of
18 the state and all of the people below him, if it's their
19 determination that they will -- that they desire to have
20 a program and make the choices to have an adequate and
21 compatible program, whether it's staff that needs to be
22 added or regulations gotten up to speed or whatever, if
23 they're making progress on that we're willing to help
24 them along. When you say how long, we have two cases
25 over the years that have gone on for what seems to me

1 like about three review cycles. That's kind of
2 stretching it. We'd like to see action taken by the
3 states far earlier than that and that's one of the areas
4 we're going to recommend that we try to find a way in
5 which both our office and the states can be stronger
6 about getting their act together much more quickly.

7 In the Iowa case, I think I'll touch on it
8 a little bit later, it is something that was over two
9 review cycles and our later discussions with them have
10 them turning their program around and certainly making
11 every effort to do so. So, we don't have a written
12 standard on that.

13 COMMISSIONER REMICK: Okay.

14 COMMISSIONER CURTISS: Carl, in your
15 discussion of the two issues that we look at, adequacy
16 and compatibility, it's obvious to me how a state, once
17 we approve an agreement, might find itself in a less than
18 adequate position. Resources are strained, qualified
19 people are not available, budget cuts lead to less than
20 adequate staffing, a whole host of circumstances that
21 might have a state find itself on the other side of the
22 line insofar as adequacy is concerned.

23 On the compatibility side, what I hear you
24 saying is that prior to granting a state agreement state
25 status, we review the basic legal framework, if you will,

1 the statute and the regulations that the state in turn
2 proposes to use in carrying out its authority for the
3 purpose, as you've laid out in some detail, of satisfying
4 ourself that the program is compatible as we evaluate
5 that process. Recognizing that that decision gets made
6 as a prerequisite to granting agreement state status, is
7 it possible, have we confronted situations where once a
8 program is declared to be compatible and they're off and
9 running and assuming it's adequate at the front end, that
10 a state after that could lapse into incompatibility, and
11 if so how?

12 MR. KAMMERER: By regulations, by lack of
13 passing regulations. The point you're making is that up
14 front we have the largest stick. Before somebody wants
15 an agreement state, an ability to carry on the functions
16 as an agreement state, clearly they have to fill in all
17 the right squares. They have to have all of the proper
18 regulations, they have to have even the staff. All of
19 those are put in the Federal Register. Everybody is
20 notified as to the quality of the state before we enter
21 into the agreement.

22 In both the legislation, Atomic Energy Act,
23 and in our agreements that we sign with those various
24 states, there is the best efforts clause where you have
25 achieved both adequacy and compatibility before becoming

1 an agreement state and then we use our best efforts, it's
2 in those two documents, to maintain adequacy and
3 compatibility.

4 COMMISSIONER CURTISS: Yes, but on the
5 compatibility front, it sounds to me like it requires
6 some sort of affirmative action by the state --

7 MR. KAMMERER: Yes.

8 COMMISSIONER CURTISS: -- rather than just
9 not passing a budget or letting things develop to the
10 point where they're inadequate. It requires some
11 affirmative action to change a regulation or to modify a
12 statute that we have previously evaluated in the context
13 of our compatibility review?

14 MR. KAMMERER: No, as we come up with new
15 regulations.

16 MR. THOMPSON: We will change our
17 regulations. In each one of those regulations that we
18 change, we evaluate whether we require the state to adopt
19 exactly the same regulations or they can have one more
20 stringent or we would just encourage them to do it but
21 not make it a requirement.

22 COMMISSIONER CURTISS: Then the
23 incompatibility rises potentially when a state does not
24 adopt regulations after the program is originally
25 approved?

1 MR. THOMPSON: Correct. And some states
2 have a much more cumbersome process to adopt regulations
3 than we do.

4 COMMISSIONER CURTISS: Okay.

5 MR. KAMMERER: That's why we allow three
6 years for adoption of new regulations that are required
7 for compatibility. When there are problems in a state
8 program, in the states programs, the Office of State
9 Programs documents the finding with a letter to the
10 appropriate state officials and then meets with senior
11 officials in the Executive Branch and in some cases to
12 the governor of the state to expedite the changes.

13 I brought up the recent Iowa example as a
14 good one to feature. The regional administrator and I
15 participated in an excellent briefing conducted by the
16 regional state agreements officer in the State of Iowa.
17 The state radiation control program manager and two
18 senior levels above him were present at that meeting. I
19 spoke to the governor and to his staff and Jim Taylor
20 signed our detailed findings letter to the governor. So,
21 we put a lot of attention on making sure that to the
22 extent that we can that changes are made.

23 (Slide) Slide 7 are observations and
24 recommendations for further review.

25 COMMISSIONER ROGERS: Before you go to that,

1 Carl, just on the slide with your data on it, two
2 questions. One is the labeling of the columns. I'm a
3 little confused here on the column labeled A. Is that
4 number that are found adequate or is it what it says it
5 is, compatibility, that are compatible?

6 MR. KAMMERER: It is adequacy. The first
7 one are the adequacy and compatibility. The second one -
8 -

9 COMMISSIONER ROGERS: The next one is
10 adequate.

11 MR. KAMMERER: And the last one is findings
12 withheld.

13 COMMISSIONER ROGERS: All right. So, the
14 explanation at the bottom is a little in error there,
15 that A doesn't mean compatibility.

16 MR. KAMMERER: Very well.

17 COMMISSIONER ROGERS: But that's just to
18 clarify the meaning of those columns. But have you found
19 that any of the programs that have not -- are there any
20 programs that have been found not to be compatible that
21 the incompatibility resides in the medical area? You're
22 talking here about general everything, all of our --

23 MR. KAMMERER: I would think that that
24 answer is no because the agreement states have not had to
25 be compatible with that regulation. The date was 1990

1 and then the new quality management rule is not going to
2 be until 1995.

3 COMMISSIONER ROGERS: That's right. But are
4 there any other areas where there's an incompatibility in
5 the medical --

6 MR. KAMMERER: The State of Washington?
7 There may be a state that doesn't have the rule, the
8 State of Washington. I'm not quite sure.

9 COMMISSIONER ROGERS: Well, it would be
10 interesting to know whether the lack of compatibility,
11 wherever it is, includes the medical area and how many of
12 those states?

13 MR. KAMMERER: I'll have to get that.

14 COMMISSIONER ROGERS: On whether it's
15 basically in the materials area rather than the medical
16 area?

17 MR. TAYLOR: We'll get that.

18 COMMISSIONER ROGERS: Yes, I'd like to see
19 that number.

20 COMMISSIONER CURTISS: At the briefing on
21 the 29th, when we get into this in more detail, and going
22 back to the question that I raised earlier, it might be
23 helpful, maybe even off line, to explain to me how we end
24 up in a situation that I think we have in Utah where the
25 program in one respect has not been declared to be

1 compatible, but they have their authority and it wasn't
2 a result of anything that we adopted subsequent to the
3 approval of the Utah agreement. I don't want to pursue
4 it in detail here, but I raised the earlier question
5 because it does seem to me that in that particular case
6 we have a situation where with respect to the land
7 ownership issue this is not medical, it's low-level
8 waste, we've got a program that concerns us from a
9 compatibility standpoint but not as a result of something
10 that we subsequently adopted after the Utah agreement was
11 approved. We can pursue that in more detail, but I don't
12 know why that is.

13 MR. KAMMERER: So, in the observations and
14 recommendations, we offer the following. Compatibility
15 issue clearly needs to be addressed. We need to look at
16 the wrongdoer rule. We also need to look at alternative
17 regulatory measures which will shorten the time it takes
18 for states to implement significant regulatory
19 improvements pending the codification of the rules. What
20 I'm thinking about here is we've recently learned about
21 the alarm rate meter and the great improvements that are
22 made there, and perhaps one of the ways we can get a
23 quicker turnaround here is to have agreement states
24 encourage agreement states to use license conditions or
25 something like that while they still go on the business

1 of getting their rules in shape.

2 It would be useful to have a national
3 database to track incidents and misadministrations and we
4 will review our policies for the withholding of findings,
5 some of the points that you've made, Commissioner, of the
6 adequacy and compatibility. Then also we'll completely
7 review all of our procedures and, of course, there are a
8 lot more lessons to learn from this information
9 gathering.

10 CHAIRMAN SELIN: Before we get off this, I
11 would just like to make a couple of general comments.
12 There have been a number of reviews, GAO review, et
13 cetera, both our own materials program and the medical
14 program. Without getting too deeply into it, the two
15 findings that seem to have happened with the agreement
16 program that resonate quite strongly, the first is that,
17 as you've indicated indirectly, Mr. Kammerer, in the past
18 we've concentrated mostly on the process and not on the
19 results. We've kept good track of whether people do
20 their inspections in time and whether they have training,
21 but not what the results are and haven't really done
22 comparisons state to state or agreement versus non-
23 agreement on, say, misadministration rates or other
24 things like that.

25 MR. KAMMERER: Exactly.

1 CHAIRMAN SELIN: I think it's to be
2 commended that you start using these data on a regular
3 basis, et cetera.

4 MR. KAMMERER: I concur.

5 CHAIRMAN SELIN: The second is that I guess
6 people like deterrents to be used every now and then
7 because it's been noted that we've never disqualified a
8 program one way or another. I don't think your objective
9 should be to disqualify programs, but there is some
10 question.

11 On the other hand, some of the outside
12 criticisms have been that we do more of a job of
13 reviewing the agreement state programs than we do of
14 reviewing our own programs in a systematic way about how
15 late are inspections, how well do people carry out the
16 processes and this all suggests the desirability of, on
17 the one hand, doing some more performance oriented work
18 in the state programs, on the other hand having somewhat
19 more equivalent rules unless there's really a clear
20 difference about why the state should be expected to do
21 something that we don't expect ourselves to do. But the
22 end results do have to be programs which at least at a
23 certain level are less different from agreement states to
24 our own states.

25 The last thing I'd just like to say is of

1 all the things that should have a high level of regional
2 variation and where we should probably go with a fairly
3 light foot, I think enforcement is one of them because if
4 the role of enforcement is to deter, presumably the
5 agreement states have a much closer idea than we do in
6 Washington or in the regional offices about what deters
7 and what doesn't deter the licensees. So, a high degree
8 of compatibility might not be called for in the
9 enforcement program. The key thing is the results, not
10 saying if you do something you will pay the same penalty
11 whether you're in Alabama or in New York.

12 But that was very interesting.

13 MR. KAMMERER: Well, thank you. You touched
14 on one point there that I'd like to just expand upon a
15 little bit and it says that we've never taken a program
16 back. While that is true, the Idaho example is, I
17 believe, an excellent example, absent written procedures
18 for sure, of just what to do to assure that the citizens
19 of the State of Idaho are well protected.

20 In reading that documented file of a couple
21 of inches thick, there are a great number of letters back
22 and forth between myself and various officials in the
23 government there, in talking with the governor himself
24 and the clear thing we were trying to establish over a
25 long period of time to be sure is for that chief

1 executive to make the decision, do I want the program or
2 don't I? Then in the case if I do, what are the things
3 that I need to do in order to get a quality program back
4 on track? And if I don't, we let them know what that
5 alternative is and I think the last piece that encouraged
6 the decision to be made rather quickly was sending our
7 letter over that said, "In 48 hours we want to hear what
8 your plan is." We gave them an extension for a couple of
9 weeks, but the decision came back the other way and were
10 prepared with a Commission paper to come to the
11 Commission. We didn't start action right then. We'd
12 been doing it all along and it was before the Commission
13 in a matter of a few days and the decision was agreed to.
14 So, the citizens were protected by having the NRC pick up
15 that responsibility and do the job.

16 MR. THOMPSON: I'd like to respond. I agree
17 with you, Mr. Chairman, and I'll be working with both
18 State Programs and NMSS to evaluate and try to take the
19 best part of both of the program reviews and make sure
20 that we apply those to evaluating both programs and where
21 there are differences we understand and can justify why
22 don't we take a different approach to those. That's part
23 of the process we learned from this, as well as from the
24 GAO effort.

25 COMMISSIONER REMICK: Before proceeding, I

1 have a question that I'm hoping the General Counsel can
2 help me out on and if not today, perhaps subsequently.
3 As I read Section 274, and I see words that when we agree
4 to an agreement state status, that that's a
5 discontinuance of the Commission's regulatory authority
6 and those to me are very strong words, but at the same
7 time I realize we have some oversight responsibility. Is
8 there any easily defined line of what is our authority
9 once we agree to agreement state status?

10 MR. PARLER: Our authority is, as you
11 pointed out, discontinued. The maximum leverage is
12 before the agreement is executed to discontinue the
13 authority. After the agreement is entered into and if
14 thereafter for whatever reason the program deteriorates
15 to such an extent that in this Agency's judgment the
16 responsibilities are not being carried out to protect the
17 citizens in the state and the public health and safety,
18 there is a procedure that is set forth in Section 274 of
19 the Atomic Energy Act to reacquire the authority which
20 has been discontinued to the state.

21 That is a part of the background, I think,
22 that Mr. Kammerer was talking about for the state, but
23 the thing was worked out without having to go through the
24 process that is called for by 274.

25 However, since the authority is

1 discontinued, it cannot easily be taken back just
2 because, say, the Commission might think on a particular
3 day that the program is not adequate and as of that day
4 the program should be reacquired. There is a discipline
5 process that has to be gone through.

6 MR. KAMMERER: Commissioner Remick, there's
7 one more thing to add to Bill's point.

8 COMMISSIONER REMICK: Yes.

9 MR. KAMMERER: The legislation requires that
10 we periodically review the agreement states. So, we
11 still have a responsibility in that.

12 COMMISSIONER REMICK: I agree. No, I agree
13 with that. The point I was really trying to get at, I
14 asked the question have we ever initiated a special
15 investigation on our own in an agreement state or have we
16 ever hired a consultant to go look at an incident in a
17 state without being requested. I assume we would not
18 have the authority to do that.

19 MR. PARLER: There is -- I think that if we
20 believe that there is something that needs to be examined
21 to see whether the overall authority that we have, which
22 includes the authority to discontinue authority in
23 specific areas, whether the stewardship over that which
24 has been discontinued is adequate, that we could do that.
25 There have been -- there was a situation some years ago,

1 the details of which I am not familiar with, but within
2 the State of New Mexico about a mine or a mill. The
3 situation there was such that I think that that was
4 examined in cooperation with the states and an agreed to
5 resolution of the problem was reached.

6 I think yes, we could do that, but not
7 frequently.

8 MR. TAYLOR: I can recount one event which
9 was at an irradiator in Georgia a few years back, an
10 agreement state. Late in the day, in the evening -- this
11 was the cesium capsule issue. We were in discussion with
12 the state, but we became concerned that appropriate
13 surveys had not been taken at the exit of the irradiator
14 and there were not state personnel available to do the
15 surveys. I made the decision and informed the state that
16 we had people and we sent people out that night to take
17 surveys, contamination surveys outside because this was
18 in an industrial park and we were concerned that any
19 contamination, cesium, might be tracked further. So, we
20 acted. In that case, the state did not have, for some
21 reason or the other I can't recall, but we moved that
22 night with our own equipment, did a survey, of course
23 advised the state promptly and worked together with the
24 state for the remainder of our involvement there.

25 COMMISSIONER REMICK: I'm glad to hear that.

1 MR. TAYLOR: It would be rare, but I think
2 in that case we did act in the public interest.

3 MR. PARLER: I would think that in any
4 example such as this where the event that is being
5 examined could have interstate consequences as far as the
6 protection of the public health and safety is concerned,
7 that this Agency would have authority and an role to
8 play.

9 COMMISSIONER REMICK: Thank you.

10 MR. BERNERO: (Slide) I'd like to resume,
11 if I could have slide 14.

12 The Cleveland Plain Dealer series addressed
13 these issues extensively in the month of December.

14 COMMISSIONER REMICK: Comment to staff.
15 Numbers on the pages would be helpful.

16 MR. BERNERO: Yes, my regrets that I didn't.
17 They're handwritten numbers I'm using. It's the one
18 Cleveland Plain Dealer series title.

19 Much of what we've already said speaks to
20 the principal issues raised in that series, but I'd just
21 like to summarize the issues here and hit some highlights
22 on them before we get to our conclusions or observations.

23 Basically, we see the series as focusing on
24 us and the agreement states in three general categories
25 or three general issues, the first being oversight. The

1 oversight issue being characterized as small resources
2 are dedicated to the medical program, not enough people,
3 not enough expertise presumably, that fines are small,
4 that the amount is too small to be significant, that
5 there's no follow-up on wrongdoers, people who have done
6 something wrong. There is inadequate reporting, that
7 information isn't shared with the states, that general
8 oversight challenge.

9 The second issue concerned follow-up of
10 patients subject to misadministration and the argument
11 being that we didn't know about the consequences, that it
12 raised the question of our responsibility to focus not
13 only on the circumstances of misadministration but the
14 consequences, especially following the patient to
15 determine did the patient ultimately die of the
16 radiation. That in particular on the Riverside Hospital
17 events, and thirdly the expansion of the NRC regulatory
18 purview, the article series had a good number of
19 incidents that were with linear accelerators, which are
20 used for teletherapy purposes, and as I recall it even
21 said that we repeatedly refused to regulate such devices.

22

23 (Slide) So, if I could just take the next
24 slide and touch on the three issues, just highlight some
25 of the concerns, the NRC and agreement state oversight,

1 Carl has just explained to you the agreement states so my
2 remarks are going to focus on NRC as a pattern.

3 First of all, as far as the resources we
4 dedicate to this, we told you in the Commission paper we
5 just sent up that we have 74 individuals in staff
6 directly involved. This is licensing and inspection and,
7 you know, support individuals, dedicated to the extent
8 that 41 full time equivalents per year are dedicated to
9 the regulation of nuclear medicine. That is
10 approximately one-third of our materials regulation
11 program and they constitute approximately one-third of
12 our materials licenses.

13 We also have about a million dollars in
14 program support to assist in medical regulation. Now,
15 these are fairly well-qualified people. We have, as you
16 know, a medical doctor on staff as a visiting fellow, but
17 our own staff are non-medical doctors, but many of them
18 have advanced degrees including doctorate degrees.
19 They're generally health physicists or physicists. And
20 we retain medical consultants, of course, as we were
21 discussing earlier.

22 Our inspection activities are --

23 COMMISSIONER de PLANQUE: Bob?

24 MR. BERNERO: Yes?

25 COMMISSIONER de PLANQUE: Before you go off

1 the FTEs, does that 41 include the FTEs required to
2 oversee the agreement states medical program or is that
3 an additional --

4 MR. BERNERO: No, no. This is our program.

5 Now, our inspection activities --

6 CHAIRMAN SELIN: That's one FTE for every 50
7 licensees is basically what it works out to.

8 MR. BERNERO: Yes.

9 CHAIRMAN SELIN: And how many therapeutic
10 administrations are you talking about?

11 MR. CUNNINGHAM: In round numbers, 200,000.

12 MR. BERNERO: Yes, something like that.

13 MR. CUNNINGHAM: Roughly.

14 COMMISSIONER de PLANQUE: That's nation-
15 wide?

16 MR. BERNERO: Yes, nation-wide estimates,
17 and you'd say a third of them are in -- that's a very
18 crude estimate, because, as Carl Kammerer showed you, the
19 four big population states are agreement states, so that
20 I would tend to lean toward more like a quarter.

21 CHAIRMAN SELIN: Well, it's a third of the
22 license -- we have a third of the licensees. Maybe we
23 have a third of them.

24 MR. BERNERO: Yes. It depends on which one
25 you would use.

1 CHAIRMAN SELIN: Okay.

2 MR. BERNERO: But we do scale our inspection
3 priority anywhere from a nominal annual basis of
4 inspection to every four years depending on the size of
5 the activity, a broad license, a big facility versus a
6 small community hospital or an individual licensee.
7 Frequently we have to use specific judgment to scale
8 that, because it is possible to have individual licensees
9 who are going bankrupt or aging, you know, elderly
10 doctors who have sources, teletherapy machines where you
11 have to give a lot of extra attention. But, as a general
12 rule, we scale the inspection frequency to the size or
13 scope of their licensed activity.

14 And then, of course, we do have extensive
15 enforcement and investigation activities, so in general
16 I would respond to the challenge that there is inadequate
17 oversight as saying we do have extensive oversight. It
18 isn't dozens and dozens of inspectors for any one state.
19 We review this every year through the process. It's an
20 allocation of resources process and we have to make that
21 judgment every year and from time to time we do shift and
22 increase the emphasis or increase the inspection
23 frequency or something like that.

24 (Slide) If I could turn to slide 16 and
25 just touch on the follow-up with patients, we talked

1 about this quite a bit before. I would recall for you
2 that misadministration reporting has been a requirement
3 for NRC licensees now for 13 years and the agreement
4 states have come into it more recently. The data that
5 are available, you will see, for agreement states cover
6 only one year. They're really in the misadministration
7 reporting start-up mode, whereas NRC has a longer period
8 of reporting.

9 Mr. Chairman, you referred to the
10 notification data, you know, their reporting data as
11 being fairly sparse, 10^{-3} or 10^{-4} annual frequency is our
12 best estimate, somewhere in there, and they're not many.
13 And when you start looking at individual states, I would
14 just say with a caution that it's very hard to get
15 meaningful data at these low numbers or sparse figures.

16 We do require in misadministration reporting
17 that the misadministration be reported to the patient or
18 to the referring physician and giving the referring
19 physician the option to withhold the information from the
20 patient if it's deemed medically justifiable. We do
21 follow up on that. We try to follow up to make sure that
22 those notifications are made and, similarly, we have the
23 procedure that I referred to earlier of reporting
24 exposures to people.

25 You know, we have clear regulations for

1 reporting exposures of workers within a licensed
2 operation, but where inadvertent exposure victims,
3 victims of inadvertent exposure from a source traveling
4 across the country in a truck that fell out of its shield
5 or, in the case of this more recent incident in Indiana,
6 Pennsylvania, other residents of the nursing home that
7 were inadvertently exposed, we have a less rigorous
8 process, for sure, for notifying those people. We often
9 use the medical consultants to do that and --

10 CHAIRMAN SELIN: Can you just stop for a
11 second?

12 Mr. Kammerer, is it a requirement of
13 agreement states that they also require that patients in
14 the agreement states be notified if there's been a
15 misadministration, what the amount is and the likely
16 medical effect?

17 MR. KAMMERER: I don't know that fine
18 detail, but the answer is yes for notification.

19 CHAIRMAN SELIN: See, I was struck. It's
20 truly anecdotal and the Riverside event was a long time
21 ago, but basically the government stopped investigating
22 what happened to the patients when we had enough
23 information to say that there was a serious problem,
24 rather than saying we should look at each patient to see
25 if anything should be --

1 later, it's just clear that we do have an obligation to
2 do the former.

3 MR. BERNERO: Yes.

4 CHAIRMAN SELIN: And one of the question I
5 hope you review answers us whether we can be assured that
6 we are systematically doing the former. The later one,
7 when you make a recommendation what you think we ought to
8 do, then the Commission will probably speak on what it
9 believes ought to be done.

10 MR. BERNERO: Yes, indeed. The way I would
11 put it is we have to have a sharp definition of what our
12 scope of follow-up and the extent and purpose of that
13 follow-up is and that the procedures are being rigorously
14 followed.

15 I was using the example a few minutes ago
16 about reporting extraneous, that is non-patient
17 exposures. That is in a real state of confusion for us
18 right now, because we don't have a rigorous system of who
19 does what, who reports it. But the follow-up of the
20 patients as we saw at Riverside and as we see even in
21 cases today, we don't have a long-term medical follow-up.
22 We have an arrangement whereby on a voluntary basis a
23 patient may be monitored in an epidemiological program,
24 but the NRC does not have a clear procedure for long-term
25 follow-up.

1 COMMISSIONER CURTISS: Bob, could I pursue
2 that? There are two discrete questions here that I think
3 we're talking about and there's some confusion.

4 We have a policy that provides for initial
5 notification of the patient and that policy I think is
6 one that's well-established and I think reaffirmed in the
7 QM rule. There's a separate, maybe related, but
8 nevertheless a separate issue, and I think Mr. Parler's
9 comment touched on this question, and that is what is our
10 obligation with respect to following up on a patient who
11 has been the subject of a misadministration from the
12 standpoint of beyond initial notification?

13 The policy, as I understand it, and it's a
14 relatively old policy but it is a policy that in the
15 exchange of communications back in the late '70s seem to
16 suggest clearly what the policy was, is that we follow up
17 on the patients to the extent necessary to carry out our
18 regulatory responsibilities. Now that may not require
19 us, the argument goes, to follow up with respect to each
20 patient to ensure that they get adequate medical care.
21 That might be the doctor's responsibility, some would
22 argue. Nor does it require, and the Cleveland Plain
23 Dealer series focused in particular on this point in a
24 critical way, nor does it require, the argument goes, for
25 us to follow up on each patient to determine whether, in

1 the event of death, as everybody will at some point
2 encounter, that death was caused by the misadministration
3 that occurred and that the patient under the current
4 policy would be informed of.

5 I guess my question here at this point is
6 really twofold. I read the discussion in the SECY paper
7 and it goes on for some length beginning on page 14. I
8 read that discussion as laying out several pros and cons
9 of what you call long-term patient follow-up with perhaps
10 a heavier emphasis on the cons, but nevertheless a
11 discussion of the pros and cons of long-term patient
12 follow-up.

13 Now, my questions are really two-fold.

14 One, this is a paper which the Office of
15 General Counsel has concurred in.

16 MR. PARLER: Well, there's no legal
17 objection to it.

18 COMMISSIONER CURTISS: I guess the first
19 question -- I'm sorry, no objection to the paper.

20 MR. PARLER: That position was arrived at
21 after much internal effort and discussion and
22 qualifications in the words.

23 COMMISSIONER CURTISS: Us lawyers need to be
24 careful about the terms we use.

25 MR. PARLER: That means that all of the

1 facts and stuff in here about what is going on for
2 current practices, these numbers from agreement states,
3 et cetera, I cannot vouch for those.

4 COMMISSIONER CURTISS: Okay.

5 MR. PARLER: Given the input that we had and
6 what these folks say that they are embarked on doing, I
7 have no legal objection to that.

8 COMMISSIONER CURTISS: Okay. I had a
9 specific question. Maybe it picks up on that point. In
10 laying out the pros and cons of long-term patient follow-
11 up in the development of the policy in this area and in
12 suggesting, as I think you're going to, that this be
13 something that would be evaluated by an external group,
14 do I infer from what we have before us that the question
15 is basically a policy question and that we have a range
16 of legal options ranging from what I've just described as
17 the policy in the late '70s to something much more
18 aggressive? Essentially, it comes down to a policy
19 question?

20 MR. PARLER: Certainly the near-term
21 actions, as distinct from the longer-term actions where
22 your characterization was the same as my understanding
23 that perhaps for the longer-term the cons were presented
24 with greater weight than the advantages, what governs me
25 is that the Commission has decided unequivocally that the

1 patients have a right to know when they have been
2 involved in a serious misadministration, unless this
3 information would be harmful to them. There's nothing
4 ambiguous about that. That has been the policy that this
5 Commission has adopted since 1980. And even before that
6 policy was adopted, the Commission prior to that time
7 advised the Congress in a particular situation that it
8 would indeed follow up on patients that were involved in
9 a serious misadministration.

10 COMMISSIONER CURTISS: Inform the patient
11 that they had -- or the referring physician?

12 MR. PARLER: Yes.

13 COMMISSIONER CURTISS: But the question that
14 I'm raising and the reason I make the distinction between
15 the two is because there is a difference in my view
16 between the initial notification, which I think you've
17 summarized as I understand it, and the question of
18 whether we have an obligation, legal, or whether it's a
19 policy choice for what you refer to in this paper as
20 long-term, after the initial notification, long-term
21 patient follow-up to the point even of determining
22 through, let's say, an autopsy what that patient died of.

23 MR. PARLER: Well, whatever it is that the
24 Commission believes, at least in my judgment, that they
25 have to do to make sure that the patients who have been

1 involved in a serious misadministration have been given
2 adequate knowledge that the Commission has gotten about
3 the situation. When you go beyond that, then I don't
4 think there are any legal requirements that are involved
5 over the long-term. That's why in this paper there's a
6 sentence added that, for the short-term things, that the
7 General Counsel, the OGC, believes that these arguments
8 for the notification and the advice and so forth are
9 persuasive.

10 CHAIRMAN SELIN: Do you want to hear Mr.
11 Bernero's answer?

12 MR. BERNERO: I would just like to add, by
13 the way, the citation that Bill Parler just made is low
14 on page 16, if you wanted to refer to it, about that
15 being persuasive for the short-term.

16 In order to respond to the question, I would
17 like to put it in a framework and go back to the
18 Riverside Hospital incident and the confused history that
19 followed it and ending with Doctor Polycove's memorandum
20 about what was the final count, you know, the three
21 categories of deaths attributable to that series of
22 misadministrations.

23 In the original follow-up, the short-term
24 follow-up, our medical consultants were looking at
25 pathology and following the cases and got to two deaths

1 which clearly established the gravity of the
2 misadministration. This was a very serious
3 misadministration or series of misadministrations and
4 they got to two deaths and that, in my mind, is a way for
5 the Commission to say, "Yes, we know this is serious.
6 The consequences are grave of this sort of mistake or
7 misadministration."

8 Then, if you go through that correspondence,
9 you can see the confusion. "Where are we going to get
10 the people and who's going to do it and do we do
11 autopsies and what-have-you?" The follow-up which came
12 and was summarized in Doctor Polycove's report -- not
13 that we did the follow-up, but the way it was done --
14 said, "Ultimately one can categorize all of the victims
15 of misadministration as ones who died of the original
16 cancer, ones who died of the cancer but quite probably
17 with a significant contribution or deleterious effect of
18 the over-irradiation, and lastly those who died of over-
19 exposure."

20 And you may recall that even in one of those
21 cases -- I think you questioned it some time ago, Mr.
22 Chairman -- we're talking about something like 25 to 50
23 percent over-exposure, not a real big leap. You know,
24 you're dealing with high radiation right on the threshold
25 of very serious damage to the person because you're

1 trying to damage the tumor. Now in that context I would
2 say that, from what we learned from General Counsel, the
3 short-term arguments are persuasive. Yes, that's clearly
4 a legal obligation and we don't question that at all.

5 But the long-term follow-up is something
6 that I think the Commission would want to make as a
7 policy choice, look at the alternatives and then turn and
8 ask General Counsel in that context, "Is this a good idea
9 or is this a viable alternative? Do we have either the
10 legal authority or the legal compulsion to do it?"

11 COMMISSIONER CURTISS: The reason I raised
12 the question, and I think it's clear that after we
13 originally notify the patient, which is legally required
14 and there's no disagreement about the question that
15 arises as to what extent do we undertake a long-term
16 follow-up of individual patients, if we have a legal
17 obligation to do something more than what we're doing
18 right now, I personally wouldn't support referring this
19 to an outside group to examine the pros and cons, if
20 we've got something that we need to be doing that we're
21 not currently doing right now. I don't understand Mr.
22 Parler to be saying that.

23 And so the remaining question, then, is
24 whether in examining the pros and cons and defining the
25 extent to which we would pursue long-term patient follow-

1 up whether there's a question about our legal authority,
2 not our legal compulsion but our legal authority to
3 extend beyond what we have defined to date as the purpose
4 of our role.

5 MR. PARLER: May I say something or not?

6 CHAIRMAN SELIN: You certainly may and, if
7 Commissioner de Planque agrees, you may do so right now.
8 Please do.

9 MR. PARLER: These longer-term things are
10 good questions. One of my problems is that I have not
11 been able to clearly understand what our practice has
12 been for the short-term, whether in this event where
13 there were 400 people that presumably suffered serious
14 misadministration were they notified. What were they
15 notified about, et cetera? That's what bothers me, sir.

16 COMMISSIONER de PLANQUE: It's still not
17 even clear to me if we can answer the question. Where
18 there has been a misadministration, is there a radiation-
19 related harm or death as a result?

20 CHAIRMAN SELIN: I'd like to follow up on
21 that observation, if I might. There are two things that
22 I'm concerned about in addition to the questions that
23 Commissioner Curtiss raised. One is this distinction
24 between short and long-term isn't as clear as it sounds.

25 For instance, if there was a

1 misadministration and we tell the patient what it was and
2 how much it was, et cetera, that might let us off the
3 hook in general. But if you know that a couple of people
4 have been killed, you might have a very different view of
5 when you have enough information in the short-run, in
6 other words whether just knowing the radiation at that
7 point is enough or whether you need to monitor for a
8 while even to meet the "short-term."

9 When you do your review, I'd like you to do
10 two things we haven't discussed. The first is off the
11 topic so far, and that is we have the sentence that says,
12 particularly in the case of a therapeutic
13 misadministration, that the patient must be apprised of
14 the misadministration no later than 24 hours after its
15 discovery unless, A, the referring physician says he'll
16 do something or other or, B, based on the medical
17 judgment, telling the patient would be harmful.

18 I've heard from anecdotal information that
19 we've taken too generous a view as to when the patient
20 need not be told, in other words somebody saying, "Oh,
21 don't worry about it. It wasn't such a big deal," et
22 cetera. I mean, the statement is very clear that
23 somebody has to say it would be harmful to tell the
24 patient. The patient is in such a delicate frame of mind
25 that telling that patient at this point might impede his

1 or her recovery.

2 Would you look in practice to see if we've
3 applied that tough a standard or we've been put off by a
4 much more casual standard?

5 COMMISSIONER REMICK: In what time frame
6 would you look at that?

7 CHAIRMAN SELIN: Whatever reviews --

8 MR. BERNERO: In the required notification.

9 CHAIRMAN SELIN: No, no. Commissioner
10 Remick -- there's no sense in going back to the Riverside
11 event, but when you look at the recent events have we
12 been pretty rigorous at telling the patients or do we
13 accept a much lighter excuse for not telling the patient
14 than would be called for by the rules?

15 MR. TAYLOR: Go ahead, Hugh. I think you
16 should --

17 MR. THOMPSON: Yes. Mr. Chairman, I just
18 wanted to make sure the record reflected that there was
19 no follow-up reporting requirement for the patients at
20 Riverside. We clearly have that responsibility today and
21 we would clearly do that follow-up.

22 CHAIRMAN SELIN: No, I'm sorry. Nothing I
23 was talking about was suggesting Riverside. I just want
24 to make sure when you look at these cases that you do a
25 reasonable post-audit about, if we didn't tell the

1 patient, that we had what you would today feel was
2 sufficient --

3 MR. BERNERO: Yes. In our current
4 activities, the way the reporting requirement is
5 structured, we are really deferring to the judgment of
6 the referring physician to make that conclusion and we
7 don't override it.

8 MR. TAYLOR: We can get that information for
9 you.

10 MR. BERNERO: We can review that, and that's
11 a significant factor.

12 CHAIRMAN SELIN: The second is sort of an
13 analytical suggestion. When you look at what you believe
14 are the pros and the cons of longer-term follow-up, I
15 would like you to apply that as if there were a Riverside
16 today. In other words, in a really serious event where
17 a couple of people have been known to have been killed,
18 don't just take the dry legal analysis and say what are
19 our obligations, short-term versus long-term, but say, if
20 we followed this policy, what would that tell us about a
21 new Riverside? You know, would we stop after two people?
22 Would we continue to follow people? So that you have a
23 sort of a meta experiment to say, if we applied this
24 policy, if this case happened today and if we applied
25 this policy, is it intuitive account or intuitive that

1 we'd be coming up with the right answer?

2 I mean, I go on the general view, to
3 paraphrase the General Counsel, that we are obligated due
4 to the short-term involvement. We have vast authority
5 and therefore, should we choose on a policy basis to do
6 the long-term follow-up, that nobody would say we're not
7 allowed to do it, but that we have flexibility about why
8 would we do it and how does it support the regulatory
9 function. At least, that's my going in view and
10 therefore I'm very interested, as I'm sure the other
11 Commissioners are, in the policy pros and cons as well as
12 legal.

13 MR. BERNERO: In fact, I was answering
14 Commissioner Curtiss' question citing Riverside because
15 it is -- not to rediscover or redo Riverside, but to use
16 it as a hypothetical experiment.

17 CHAIRMAN SELIN: Right.

18 MR. BERNERO: If we had it to do over again,
19 what makes sense? What would be sound policy as well as
20 what would be legally required?

21 MR. THOMPSON: I would like to add one
22 comment in the discussion with respect -- excuse me.

23 CHAIRMAN SELIN: Commissioner de Planque?

24 COMMISSIONER de PLANQUE: I would also ask
25 for some clarification of what the situation is in the

1 agreement states, because, if you look on the follow up
2 of patient section and on page 15, it says, "A special
3 note: some agreement states do follow-up inspections
4 after serious administrations," and it's not clear to me
5 what the situation there is in terms of patient follow
6 up, what's the policy.

7 MR. KAMMERER: It's basically the same as
8 the NRC and there's only, I'm believing, two or three
9 that have gone beyond.

10 CHAIRMAN SELIN: Mr. Thompson?

11 MR. THOMPSON: I think there was a question
12 on how far do we go to evaluate. One of our
13 responsibilities to evaluate the significance of an over-
14 exposure to the individuals goes to the potential
15 enforcement actions. Obviously, the death or loss of an
16 organ elevates the enforcement actions that we take, so
17 it is incumbent upon us to evaluate the significance of
18 the over-exposures in order for us to take the
19 appropriate enforcement action where appropriate.

20 COMMISSIONER CURTISS: Just an observation
21 on that. I mean, if your point here is -- take Riverside
22 and you've got 400 people, and I'll defer to the lawyers
23 here on this, or these lawyers, if the magnitude or
24 nature of the enforcement action that we take requires us
25 to understand in a long-term context beyond the short-

1 term notification and relatively limited period of time
2 what the ultimate disposition of each individual was in
3 terms of whether there was a fatality directly
4 attributable to the radiation over-exposure over an
5 extended period of time, that deserves some careful
6 analysis by the enforcement arm because it suggests that
7 enforcement action would need to be deferred until you've
8 got that information. That almost implies that we've got
9 a legal obligation to do long-term follow-up so that we
10 know what the magnitude is.

11 CHAIRMAN SELIN: Let's not get too far out.
12 There are a lot of interesting questions. They're very
13 important policy questions we would like your advice on,
14 et cetera, taking into account one of the regulatory
15 functions is the enforcement. Don't try to make a
16 judgment whether two fatalities would lead to one
17 enforcement action or four would lead to another one,
18 but, just as you go through this, take a look at some
19 real things that have happened and see what would the
20 results have been had we had these policies at the time
21 and do they match or go against your intuition as to what
22 good regulation would be.

23 It's clear there's a lot of stuff to look
24 at. I mean, that's the one clear conclusion of this
25 discussion.

1 Maybe you'd want to continue with your
2 analysis of the Plain Dealer --

3 MR. BERNERO: Yes.

4 (Slide) I'd like to go to slide 17 and just
5 touch on the third major issue, the expansion of our
6 purview. The Plain Dealer suggested that NRC should
7 regulate all medical uses of radiation, especially linear
8 accelerators, because of the history of mishap with them.

9 Now the Cleveland Plain Dealer, as I recall,
10 said we refused repeated requests to regulate that. We
11 know of no formal request that anyone ever made for us to
12 regulate that. I do note here that the issue of natural
13 and accelerator-produced radioactive material was before
14 the Commission a few years back. We produced a report on
15 that subject to discuss the pros and cons. It was
16 focused on discrete sources.

17 The Conference of Radiation Control Program
18 directors suggested that we ought to seek regulatory
19 authority over discrete sources, things like radium
20 needles, quite different from linear accelerators, and we
21 went through a process of self-review, discussion with
22 the Commission. We referred that issue to the CIRRPC,
23 the Committee on Interagency Radiation Research and
24 Policy Coordination, and we have declined to pursue that
25 regulatory authority.

1 CHAIRMAN SELIN: Commissioner Curtiss has
2 pointed out that either I might be less than clear or I
3 might, God forbid, actually be suggesting something
4 that's a bad idea in my remarks.

5 I'd like to make clear I'm not saying that
6 part of this review about how far we go beyond the
7 immediate notification has to be part of your internal
8 review. Just, you know, you'll come back to us and
9 you'll say, "Here are the questions we want to do on the
10 internal review and the external review, et cetera." And
11 when you do that question, I'd like you to follow some of
12 the logic that I put out, but I'm not suggesting that
13 it's necessarily an immediate short-term need to address
14 this question of follow-up tracking. We're open to
15 suggestion from the staff.

16 MR. BERNERO: I'm just going to turn to the
17 reevaluations. I think it's a good idea.

18 (Slide) Slide 18. I make a somewhat
19 artificial distinction here between technical or narrow
20 evaluations and management evaluations of broad
21 programmatic character.

22 As an example of the technical evaluations
23 that I think are important the Commission should be aware
24 of, we have a few contracts and technical activity within
25 the staff to look at risk analysis and human factors

1 associated with medical administration. The technology
2 changes year by year. The devices become more powerful,
3 higher energy density you might say, where more radiation
4 can be deposited on a solid tumor in a shorter period of
5 time by the use of advanced technology. And we're
6 looking at the human factors of using such equipment and
7 looking at risk analysis to see if there are insights
8 there that would help us a great deal in how we regulate.

9 A word of warning. We're looking at devices
10 and, under the law, the Food and Drug Administration has
11 authority over devices. We have authority over how
12 devices are used, and the states have certain authority
13 also, and so it gets to be a bit murky there. But we're
14 doing technical evaluations that can be useful to all of
15 us, all the regulatory parties.

16 COMMISSIONER REMICK: Along that line, not
17 in the same vein that you're using risk analysis here, I
18 understand what you're saying, but has any thought been
19 given to whether it's practical or not to have some kind
20 of overall guidance in the medical area about the concept
21 of a safety goal like we now use in the reactor area
22 where it helps us at least put things in perspective?
23 Has any thought been given on the practicality? I
24 realize it might be difficult, but in the reactor area it
25 was difficult too to come up with something that might be

1 a goal by which we judge success or lack of success in
2 these areas? I'm just asking has thought been given.
3 I'm not asking you for a solution.

4 MR. BERNERO: Just for background, in the
5 debate on the QA rule which ultimately became the QM rule
6 and the suppression of misadministration rate, in that
7 debate there was a great deal of discussion of what is
8 the real rate of mishap or misadministration and why
9 can't it be pushed further toward zero and the Commission
10 itself was involved in that debate. The data are sparse.
11 It's very difficult to make a broad judgment like that.

12 We also have been looking and our medical
13 visiting fellows are pulling together the context mishap
14 rates or error rates or fatality rates associated with
15 medical procedures in general. I think you all realize
16 that simply going under a general anesthetic is a
17 relatively hazardous operation.

18 I was advised in my own case. I took a
19 thallium stress test a little over a year ago and the
20 cardiologist advised me that I had one chance in a
21 thousand of very serious result to that test, in other
22 words keeling over on the treadmill and dying from the
23 stress. So we're looking to that as a context for are we
24 trying to get a safety goal that is unrealistic or that's
25 not achievable.

1 COMMISSIONER REMICK: Is that zero? Is zero
2 a safety goal? Is it a risk that is no greater than
3 other medical procedures? I'm just questioning. Has
4 anybody given thought if there is a way of approaching
5 this --

6 MR. BERNERO: Yes, we are giving that
7 thought.

8 COMMISSIONER REMICK: -- to give us some
9 perspective on judging on whether we are doing an
10 adequate job or not?

11 MR. BERNERO: And as you said, when I spoke
12 of risk analysis here, I was talking about --

13 COMMISSIONER REMICK: I understand.

14 MR. BERNERO: -- sensitive engineering risk
15 analysis of devices.

16 COMMISSIONER REMICK: That I understand.
17 You just reminded me of the question.

18 COMMISSIONER de PLANQUE: May I just add?

19 COMMISSIONER REMICK: Yes.

20 COMMISSIONER de PLANQUE: In that context,
21 if you look at the rate of misadministration which, if my
22 numbers are correct, are about one in 10,000 for both
23 diagnostic and therapeutic, that's the rate of
24 misadministration. If you're looking at a comparison
25 with something like the risk of death from anesthesia,

1 it's the death rate or the harm which is, again, a
2 significantly lower number --

3 MR. BERNERO: Exactly.

4 COMMISSIONER de PLANQUE: -- that you need
5 to compare.

6 MR. BERNERO: Yes. You have to compare
7 mishap with mishap, death with death or whatever
8 consequence.

9 CHAIRMAN SELIN: But at the same time, it's
10 just the mishaps. We're not looking at the places where
11 the prescription is intrinsically risky. I mean, we're
12 not talking about the right dose was applied but the
13 patient became ill because of that. I mean, it's just a
14 very small part that we're looking at.

15 MR. BERNERO: It's a very narrow context.

16 One of the Cleveland Plain Dealer events
17 that was reported in there was not a misadministration.
18 It was an argument that the doctor prescribed too severe
19 a radiation dose to treat the cancer and that that led
20 the patient to despair and suicide. Our system is unable
21 to discern that.

22 We also have, in technical evaluations of
23 the narrow type, incident investigation reports. The
24 brachytherapy incident in Pennsylvania is a salient
25 example. You'll hear about that shortly.

1 (Slide) If I could turn to slide 19, I'd
2 like to talk about the more generic programmatic things.

3
4 The Chairman mentioned at the outset an NRC
5 initiated evaluation. Last summer in management
6 consideration the staff decided that a nuclear medical
7 activities management plan was an appropriate thing to
8 do. In order to clarify our role, try to focus on the
9 safety issues and pick up many of the things, we
10 developed an issues paper. The plan we were following,
11 we informed the Commission last September, I think, about
12 what we were doing.

13 We developed a medical issues paper and have
14 already had extensive discussion of that paper with the
15 Advisory Committee on Medical Use of Isotopes last
16 October, with the agreement states also last October,
17 with our regional staff management in November, last
18 November, and we're proceeding to develop what we thought
19 was the right evaluation and conclusions to come forward
20 to the Commission.

21 I must admit that we did not have all of the
22 right issues with today's perspective, that events have
23 overtaken that plan to a substantial event, and the
24 Commission itself has directed us to do further
25 evaluations catching that one in midstream and you've

1 admonished us to coordinate the further evaluations with
2 this, so we now have what amount to three evaluations in
3 process. This one I would call a line management program
4 management plan.

5 (Slide) And then, if you turn to slide 20,
6 on December 21st the Commission instructed us to do two
7 oversight reviews, the first review by NRC senior
8 management on the effectiveness of the existing program
9 and that one to be particularly coordinated with our own
10 line management one and we're trying to work out just how
11 to do that right now.

12 And then secondly, a review by an external
13 group, the Commission calling for a review of the
14 adequacy and appropriateness of the current framework of
15 regulation and, as we said in the paper, we have
16 initiated contact with the National Academy of Sciences
17 and their broad spectrum of capability. We're looking
18 into that and we believe that we can come up with an
19 appropriate plan in the near future and of course we'll
20 be coming to the Commission as you requested for how to
21 do that and whether it will serve the purpose you seek.

22 So we have three independent audits or three
23 oversight reviews going on all in some sense of
24 coordination, I hope, in the coming months. I would
25 expect the internal one and the internal NRC manager

1 oversight to have a time scale of months to completion,
2 whereas the external review would be much, much longer,
3 more like one or two years to review, so we should be
4 prepared for that.

5 (Slide) Now if I could turn to slide 21 and
6 just summarize, in the Commission paper itself we had a
7 concluding section that we entitled "Observations and
8 Further Considerations." I would just like to highlight
9 that we enumerated in the paper a number of aspects --
10 Carl Kammerer spoke to some of them -- where analyses of
11 program effectiveness or needs stand unsatisfied for
12 improvements in program effectiveness. Those we intend
13 to go forward with, but I want to single out the two as
14 perhaps the more knotty problems that we need to deal
15 with.

16 One is the evaluation of regulation of
17 devices. This is going to come out especially clear. I
18 think the need will be shown in the IIT review when Carl
19 Papparello reports on that, because that's right at the
20 heart of the affair, the regulation, how the device was
21 regulated. That's going to be a very difficult problem
22 institutionally. What are the various agency
23 responsibilities, authorities? Is this the right way to
24 do it and how is the public safety interest best served.

25 And the other is of course what we've

1 discussed extensively already, the policy for patient
2 follow-up. What are we really trying to do? What is the
3 scope? What is the extent of it? And I want to try and
4 work that -- both of these issues, but especially that
5 one on patient follow-up -- into the internal reviews and
6 not simply sit back and wait for a one to two year
7 external review.

8 CHAIRMAN SELIN: The first review or the
9 second review?

10 MR. BERNERO: Into both, if I can,
11 but we have a tough row to hoe there. I don't
12 think it would be proper for the Commission to sit back
13 and say, "Let an external body take a year or two to
14 review it before we pursue the matter." I think it's
15 timely that we do it ourselves. At least, we certainly
16 want the independent view --

17 CHAIRMAN SELIN: Let me just say one thing
18 to this, Bob. However you decide to do the policy thing,
19 I think your first level review has got to at least
20 ascertain what we do today, what we really do today.

21 MR. BERNERO: Exactly.

22 CHAIRMAN SELIN: As opposed to what the
23 papers do today, with some critique there. Whether you'd
24 want to raise the policy issues there or do your middle
25 level internal review, I think, is open.

1 Commissioner Rogers?

2 I'm sorry, did you have anything further?

3 MR. BERNERO: No, no. That concludes it.

4 CHAIRMAN SELIN: Mr. Taylor, did you have
5 any other --

6 MR. TAYLOR: We have nothing further.

7 CHAIRMAN SELIN: Commissioner Rogers?

8 COMMISSIONER ROGERS: Well, it's been a very
9 helpful, I think, and detailed discussion.

10 I don't really have very much. I wonder if
11 in any way you have considered the possibility -- I think
12 the issue has been raised maybe in the Cleveland Plain
13 Dealer, I don't know -- of the question of tracking
14 chronically bad practitioners in this area and in any way
15 we can or should play a role there in identifying those
16 people, at least calling the attention to the proper
17 authorities in these matters.

18 MR. BERNERO: Yes, we have, and we have a
19 wrongdoer rule and I think Jim Lieberman is better
20 qualified to explain what we have done. That's a fairly
21 recent change.

22 MR. LIEBERMAN: We do have the wrongdoer
23 rule. That provides for taking action against and
24 tracking people who make a deliberate decision to violate
25 requirements. Many of the problems that we see in the

1 medical area as well as other areas is not so much
2 deliberate noncompliance but sloppy work.

3 COMMISSIONER ROGERS: Sloppiness, yes.

4 MR. LIEBERMAN: Lack of caring, lack of
5 attention to detail.

6 We're considering, and this is truly at a
7 very early stage of consideration, what can we do to get
8 a better idea about radiation safety officers or
9 authorized users who tend to have repetitive problems.
10 There are Privacy Act considerations that we'll have to
11 consider. There may be some other legal type issues, but
12 we are planning to look into that matter.

13 COMMISSIONER ROGERS: Well, I'm glad to hear
14 that.

15 The question of the National Academy of
16 Sciences study, it seems to me that that's a very
17 important activity to carry out, but it's also going to
18 take some time. You've said that. I don't think we can
19 wait for that. I think it will be a very valuable
20 addition once it has taken place, but these things
21 usually take several years. It's very hard to see how it
22 could be done in less than two years, the way they
23 normally operate at any rate. And by the time we would
24 be able to incorporate any of the results of that, it's
25 two to three years and I don't think we can wait for that

1 before we take serious account and stock of where we are
2 and what we ought to be doing right now. So I think
3 that's an excellent initiative, but I don't see any way
4 in which we can wait for it.

5 I don't think I have any other questions or
6 comments.

7 CHAIRMAN SELIN: Commissioner Curtiss?

8 COMMISSIONER CURTISS: I just have three
9 specific questions.

10 First, picking up on Commissioner Rogers'
11 question about wrongdoers, the situation that we
12 typically encounter -- and I've seen this come up more in
13 the context of reactor enforcement proceedings -- is a
14 case where we get into a particular situation and
15 somebody's engaged in conduct that troubles us and that
16 also troubles the licensee and the licensee typically
17 will release the individual. And when the enforcement
18 package comes before us or comes before the Agency, that
19 consideration, the individual is no longer employed by
20 the licensee, is taken into account generally when the
21 enforcement action is under consideration.

22 It might be worth taking a look at a case
23 where we haven't proceeded all the way to a formal
24 finding of wrongdoing but where the action is taken at an
25 earlier stage, an individual is released. We recognize

1 that that's an important step that the licensee has taken
2 and in fact our enforcement action takes account of that,
3 but the individual has the potential for showing up at
4 some other licensed facility, not a formal wrongdoer but
5 nevertheless somebody that perhaps there ought to be a
6 mechanism for us to at least inform those who are hiring
7 these individuals and let them make their own judgment of
8 the situation as we understand it. It might be
9 worthwhile, as I say, in the context of what you're
10 taking a look at, Jim, if you'd focus on that.

11 Second, the one area that you did not
12 mention here that I'd just like to emphasize, my
13 impression in looking at the University of Cincinnati and
14 Riverside events is that in both of those cases it was
15 astounding to see the degree of tension that had arisen
16 between the RSO and those who were engaged in the conduct
17 of authorized activities.

18 I guess what I would encourage you to do,
19 based upon that and in view of I think our mutual
20 experience that the RSO plays a critical role and where
21 the RSO has established an effective working relationship
22 within the licensed operation, that can go a long ways
23 towards addressing some of the concerns that in the case
24 of those two events we found were traceable at least in
25 part to something that had arisen that created a great

1 deal of attention, tension, and lack of communication
2 between the RSO and those engaged in the conduct of
3 authorized activities.

4 I don't know whether that needs to be
5 addressed in the context of our inspection activities or
6 as a matter that you could or should take up in the
7 internal review, but I'd like to see your thoughts on how
8 we might improve or focus on that very crucial
9 relationship.

10 MR. BERNERO: Well, from time to time in
11 cases other than the two you mention we have situations
12 of RSO either falling into neglect and not doing the job
13 or the RSO being bypassed by the practitioners or users,
14 especially in a large scope license. I can recall
15 instances where we've gone after that as a characteristic
16 of management breakdown.

17 COMMISSIONER CURTISS: That's a recipe for
18 trouble.

19 MR. BERNERO: Safety management breakdown is
20 a very serious problem, especially when they bypass, when
21 they ignore the restrictions that the RSO tries to put on
22 them.

23 COMMISSIONER CURTISS: I'd be interested in
24 seeing your recommendations in the internal review that
25 you have underway as to whether there are steps that need

1 to be taken to encourage or foster or whatever a much
2 more productive working relationship between the RSO and
3 the authorized users.

4 Dick?

5 MR. CUNNINGHAM: We are working on a guide
6 specific to medical RSOs and we can incorporate some of
7 these kinds of thoughts in that guide.

8 COMMISSIONER CURTISS: Okay. One final
9 question going back to the notification of patients.

10 The QM rule requires that for those patients
11 that are notified of misadministrations, which is every
12 patient except for the ones where the doctor determines
13 that it's not appropriate, that within 15 days the
14 patient is to be notified in writing of that either
15 through a summary of the event or through the report
16 that's submitted to the NRC. Do we currently or do we
17 have plans to audit the written reports that are prepared
18 to ensure that the process of notifying the patient,
19 except in those rare cases, is actually going on and
20 notification is getting through to the patients?

21 MR. GLENN: Currently it's looked at as a
22 part of the inspection process. If it's a special
23 inspection looking at a particular misadministration,
24 that may be looked at. In terms of an audit by the
25 Headquarters group of the regions and how well that is

1 done, we have not done that.

2 I did have Mark Rottman, our other visiting
3 medical fellow, look through the documents that we had
4 available to us here in Headquarters. And the documents
5 he was looking at, in the great majority of cases, the
6 individual had in fact been informed on time. Now, the
7 actual documents that were sent were not there and so we
8 did not look at those.

9 COMMISSIONER CURTISS: Okay. It's pretty
10 obvious from the discussion earlier that there's a legal
11 obligation and it's reflected in this provision in the QM
12 rule that the patient be notified. It might be worth
13 looking at the feasibility in the conduct of your
14 inspections of conducting an audit specifically on the
15 patient notification question. It was one of the main
16 points in the Cleveland Plain Dealer series and a source
17 of some vulnerability if the patients aren't being
18 notified.

19 That's all I have.

20 COMMISSIONER REMICK: On page 2 of the SECY
21 -- you don't have to refer to it, it indicates that the
22 causes of these administrations, talking about
23 therapeutic misadministrations, can be characterized by
24 insufficient supervision, deficient procedure or failure
25 to follow procedures, inattention to detail and

1 inadequate training. In a briefing that Commissioner
2 Curtiss and I had with the staff back some weeks ago in
3 this general area, I asked the question if it was
4 possible to take the misadministration data and break it
5 down into those bins. I thought it would be helpful.
6 The fact that I don't see it here, I assume the answer is
7 that you were not able to do that. Is it a question of
8 not being able to do it at all or in the time span that
9 we were -- time.

10 MR. CUNNINGHAM: It was the time.

11 COMMISSIONER REMICK: But you do have the
12 data. It could be broken down that way.

13 MR. TAYLOR: We'll try to do that.

14 MR. BERNERO: But a word of caution. I
15 would wonder as to the validity of it. Remember we're
16 dealing with relatively small numbers here.

17 COMMISSIONER REMICK: And a little bit of
18 data is better than no data in this case.

19 MR. BERNERO: Yes. But we do have --

20 COMMISSIONER REMICK: It's just to give me
21 an -- I'm trying to get some feeling for it.

22 MR. BERNERO: -- the ability because
23 actually we made this summary characterization from the
24 data.

25 COMMISSIONER REMICK: Yes.

1 MR. BERNERO: We just didn't sort it out.

2 COMMISSIONER REMICK: I'm just trying to get
3 a feeling for how it breaks down.

4 MR. THOMPSON: I'll add one thing, that we
5 do have a contract with the Idaho National Engineering
6 Laboratory looking at misadministrations and they sent
7 out a team to look at about a half dozen
8 misadministrations that occurred in the last year. In
9 May we're expecting a document from them that will
10 describe the root causes and the lessons learned from
11 those particular studies. So, we'll have a small sample
12 that will do that.

13 COMMISSIONER REMICK: Okay. And I
14 appreciate your saying you will get that data. I realize
15 that there are five of us here throwing out many ideas
16 for you to do. We do have a process called an SRM.

17 MR. TAYLOR: We'll look forward to that,
18 sir.

19 COMMISSIONER REMICK: I want to get the
20 Chairman's attention here. Chairman, what is your
21 intention here? Will we be issuing an SRM based on this
22 meeting or do you foresee that --

23 CHAIRMAN SELIN: No, I would prefer not to
24 do one based on this meeting because basically what we
25 have is a lot of individuals saying, "Here are things

1 that are important to me," and the staff has already
2 developed a project plan for going ahead. So, I assume
3 that they will look at the transcript and the discussions
4 and take these into account as they go on and then we
5 have two more meetings in the immediate future.

6 MR. BERNERO: Yes. The subsequent meetings
7 are quite important for the process.

8 COMMISSIONER REMICK: Okay.

9 CHAIRMAN SELIN: So, really I was thinking
10 about what would an SRM say and it would be a whole lot
11 of Commission X said this and Commissioner Y said that,
12 you know, look at these points as opposed to here's real
13 guidance.

14 COMMISSIONER REMICK: Okay. I say lots of
15 luck to the staff then. But I do appreciate it. It's
16 been an excellent briefing from my standpoint and I
17 really appreciate it.

18 COMMISSIONER ROGERS: Could I just ask a
19 question? Commissioner Remick talked about page 2.
20 Could somebody tell me what a deterministic health effect
21 is? I have an idea, but --

22 MR. BERNERO: The usual term is non-
23 stochastic, meaning it's not a cancer that showed up from
24 a low level of radiation in the past that is most
25 probably due to that radiation or is probably due to it.

1 But it's like someone gets 1,000 rad to the thigh and it
2 leaves a very visible deterministic effect. You know, it
3 burns a hole in your thigh.

4 MR. CUNNINGHAM: Where you have tissue
5 damage or organ function damage, deterministic effect
6 there. Acute effects as opposed to --

7 COMMISSIONER ROGERS: It's really a short
8 term --

9 MR. CUNNINGHAM: Yes, as opposed to the--

10 COMMISSIONER ROGERS: Short-term evidence
11 really of effect.

12 MR. CUNNINGHAM: Yes, as opposed to the
13 stochastic effects which are random cancer induced --
14 radiation-induced cancers.

15 COMMISSIONER ROGERS: Okay.

16 CHAIRMAN SELIN: Commissioner de Planque?

17 COMMISSIONER de PLANQUE: I'll be quick
18 since we've discussed most of the major issues on my
19 mind. I would just say that, Bob, you alluded to the
20 fact that you have looked at some comparative numbers in
21 other practices of medicine and I would be grateful for
22 seeing those because I think it really helps us to have
23 some perspective here. I'll be back to you with some
24 detailed questions too.

25 But I would like to thank you all very much

1 for the effort in putting this together. I know you did
2 it under very difficult and trying circumstances in a
3 very short period of time and I think it gives us an
4 excellent -- he's laughing at very short period of time.
5 You can go to sleep now. It really helps us to deal with
6 these issues.

7 CHAIRMAN SELIN: I'd like to make a couple
8 wrap-up remarks, if I might.

9 The first is just some background. It is
10 true we're talking about a relatively small number of
11 therapeutic administrations. If I figure this out right,
12 it's about 20 per year in the states that we regulate and
13 if it were the case that the number of
14 misadministrations, proportional number of licensees,
15 that would be about 60 or so nationwide. So, just in
16 terms of therapeutic administrations, we're not talking
17 about a huge problem. Most specifically, the newspapers
18 have been criticized for scaring people off meetings.
19 Nobody should conclude from this that sick people with
20 cancer should not go to hospitals and get therapeutic
21 treatment because of the probability of a
22 misadministration. But I don't think that was the
23 intention of the articles. It's not certainly the
24 intention of our review. I think we noticed ourselves
25 last summer and the press has certainly sharpened our

1 attention and given some real flesh and bones to some
2 theoretical problems that there are weaknesses in these
3 programs. We see a lot of weaknesses in the control
4 programs and we see weaknesses or inconsistencies in the
5 way we regulate these programs. So, the conclusion
6 shouldn't be therapeutic radiation is bad for your
7 health, but rather there is room for improvement both in
8 the licensee's actions and most particularly in our
9 actions and our relations with the agreement states. I
10 think that's the principal conclusion.

11 Then from the presentations that we've had
12 today, we see a range of things to be investigated,
13 places where we need better to determine what the current
14 situation is, places where management changes can be
15 made, places where policy questions have to be brought up
16 and most specifically places where we know a lot about
17 what we think the policy is, but we perhaps could learn
18 a little more about what's actually happening, the
19 feedback on the empirical information. There was a lot
20 of work done. I sort of missed the point as to why it's
21 so funny that it was done in a short time, but there was
22 a big paper done on a very timely basis that was quite
23 informative. As you can see, the Commission is very
24 interested in this work. You've sparked a lot of
25 discussion, a lot of speculation, and I hope that your

1 reviews will be able to systematically go through this
2 speculation and the questions that you put to yourselves
3 and come up with systematic answers. Not just one of
4 these or one of those, but an overall approach that says,
5 "Here's a good approach and therefore here are how
6 various questions get answered."

7 So, we look forward to your work and as
8 affected by the follow-up in the next couple of weeks.
9 So, this is a very good start on what's been a
10 longstanding sort of nagging problem.

11 Thank you very much.

12 MR. BERNERO: Thank you.

13 (Whereupon, at 4:26 p.m., the above-entitled
14 matter was concluded.)

15

16

17

18

19

20

21

22

23

24

25

1

2

3

4

5

6

7