1	1	UNITED STATES
2		NUCLEAR REGULATORY COMMISSION
3		
4		ADVISORY COMMITTEE ON MEDICAL
5		USES OF ISOTOPES (ACMUI) MEETING
6		
7		Holdiay Inn
8		8120 Wisconsin Avenue
9		Bethesda, Maryland
10		
11		Thursday, May 19, 1994
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		

1	PROCEEDINGS
2	DR. GLENN: Ladies and gentlemen, I am pleased to welcome you to
3	Bethesda, Maryland, on behalf of the Advisory Committee on the Medical Use of
4	Isotopes.
5	My name is John Glenn. I am Chief of the Medical and Academic Safety
6	Branch of the Nuclear Regulatory Commission.
7	This is an announced meeting of the Advisory Committee and is being
8	held in accordance with the rules and regulations of the General Services Administration
9	and the Nuclear Regulatory Commission.
10	This meeting was announced in the Federal Register on April 26th, 1994,
11	and that notice stated that the meeting would begin at 8:00 a.m.
12	The function of the Advisory Committee is to advise the NRC Staff on
13	issues and questions that arise in the medical use of byproduct material.
14	The Committee provides counsel to the Staff but does not determine or
15	direct the actual decision.
16	The NRC solicits the opinions of counsel and values the opinions of this
17	Committee very much. The Staff requests the Committee to reach a consensus if
18	possible but also values well-stated minority or dissenting opinion.
19	The agenda is full, and I request that members of the Committee direct
20	their remarks as briefly and succinctly as possible.
21	As an administrative matter, I would request also that when you begin your
22	remarks that you state your name so that the Court Reporter can record appropriately
23	who is making the remarks.
24	

I will also note that some background materials have been supplied to
Committee members in preparation for the discussion.
Staff is not requesting comment on the background materials themselves
but on the issues and the questions contained in the briefing book.
Some of these documents have been provided as a courtesy to
members, and the documents themselves have not been approved for use outside of the
NRC.
Direct quotes and references through the documents which have not
been released are inappropriate, and Committee members should address the issues
and not the document.
If members have differing opinions as to direction the NRC policy should
take, members should be completely free to state their personal opinion and to offer
comments on the draft documents that were submitted by the Staff to the Committee for
review.
As a part of the preparation for the meeting, I have reviewed the agenda
as well as members' financial and employment interests.
I've identified that Dr. Siegel appears to have a conflict with respect to the
review of the application of a physician to be approved as an authorized user on license
of an institution that's affiliated with his home institution.
Dr. Siegel will therefore be asked to recuse himself from being an
Advisory Committee member during discussion of that application, which will take place
during the closed session of the Committee this afternoon.
In addition, there are two subjects on the agenda where a member of the
Committee has identified a conflict of interest.

1	This afternoon there will be status reports on two proposed rulemakings.
2	Dr. Carol Marcus was the author of the two petitions for rulemaking that preceded the
3	Staff's Dr. Marcus should therefore recuse herself from any discussions of these
4	rulemakings in her capacity as a Committee member.
5	She may participate as a member of the audience should the Committee
6	Chairman decide to accept comments from the audience.
7	Should any other member of the Committee become aware of a potential
8	conflict of interest with regard to topics of discussion, you are obligated to inform the
9	Chairman and myself and recuse yourself from discussion of that topic as a Committee
10	member.
11	I would like now to introduce those members of the Advisory Committee
12	and Staff members and soon-to-be members of the Advisory Committee who are seated
13	at the table in front.
14	To my left, we have Dr. Dennis Swanson, and then next, Dr. Judith Stitt;
15	next, Robert Quillin. Louis Wagner has joined us at the table. He has just recently been
16	approved by the Commission to be added as an Advisory Committee member but has
17	not been appointed as yet.
18	Next we have Larry Camper of the NRC Staff and to my immediate left,
19	Dr. Siegel, who is the Chairman of the Advisory Committee.
20	To my right, we have Joan McKeown, and to her right, we have Dr.
21	Woodbury, who is our FDA representative. Then we have Melvin Griem, Judith Brown,
22	Daniel Berman and Peter Almond.
23	And with those comments, I will turn it over to Dr. Siegel.
24	CHAIRMAN SIEGEL: Thank you, John.

Good morning, everyone.

2 We do have a moderately full agenda and so I will try my best to keep us 3 on schedule. Before we begin, let me ask the Committee its wishes with respect to the 4 agenda items for tomorrow, and that is the one we'll discuss, the proposed ACMUI 5 bylaws. 6 In order for us to be able to get the bylaws tuned up and adopted by the 7 next meeting, we really need to try to finalize the language in them at this meeting. 8 I have received comments from many of you but not all of you, and that's 9 okay. And yesterday on the airplane I put those comments into a draft and then a variety 10 of editorial changes seemed right to me and seemed right to those of you who 11 commented. 12 What I would propose that I do sometime today and maybe not until 13 tonight is get a double-spaced copy of the document, write in the proposed changes and 14 either -- it would be ideal to get them to you before the end of the day -- That would be 15 tricky -- but certainly first thing in the morning so that we can have that as a working 16 document as we go through it. 17 And we'll have to make fewer changes in tomorrow's session. Does that 18 sound like that will work or is that wishful thinking on my part? 19 All right, we'll try it. 20 And so, Torre and Sally, if I really can get a double-spaced copy or a triple-21 spaced copy of the document sometime during the day, it would make life a lot easier. 22 Then we can ideally distribute it to everyone, and I'll spend my lunch fixing 23 up the document and you all can have it this afternoon. 24 (Dr. Marcus enters the room.)

1	CHAIRMAN SIEGEL: Dr. Marcus is joining us.
2	Okay. So with that, we can move on. I also add my comments to the
3	comments we just had from John that our purpose here is to provide advice and our
4	purpose is to try to do so in a collegial fashion whereby we reach a consensus if we can.
5	We're not a legislative body, so perhaps correctly our formal votes are
6	less interesting than our consensus.
7	And the NRC is not bound to listen to us, although we don't understand
8	that. We should make our arguments compelling and therefore our advice will become
9	more interesting.
10	And with that, let's begin with the first item on the agenda which is the
11	discussion of the NUREG documents entitled, "Management of Radioactive Material
12	Programs at Medical Facilities." And Larry Camper and Jan Schlueter will lead the
13	discussion.
14	JAMET: For the record, I'm Larry Camper, the section leader from the
15	Medical and Academic Section.
16	I'm joined by Janet Schlueter. Janet is a Health Physicist in my section
17	and is the Project Manager for the development of the NUREG document that we're
18	going to discuss today.
19	You might recall that at our last meeting we provided you with a briefing on
20	the development of this document.
21	At that time, we gave you an overview, a status report, if you will, as to
22	what we were trying to accomplish and why.
23	
24	

1	What we'd like to focus upon today is to tell you what has happened since
2	the last time we briefed you on the document, and, more importantly though, is to get
3	substantial input from this Committee.
4	What we'll do is I'll first go over some of the highlights of what we're trying
5	to accomplish, the purpose of the document, the progress since last time.
6	After I do that, I will turn it over to Janet, and she will go through and share
7	with you an analysis of the global comments that we have received by the various groups
8	and organizations that have taken a look at this document for us.
9	We then go through it chapter by chapter, we'll give you and again, the
10	large-scale comments that have been provided to us by the various organizations and
11	individuals that have reviewed the document. And we will invite the Committee to provide
12	input on a chapter by chapter basis.
13	We have a couple of hours to cover this. And I think we have a lot of
14	things to talk about.
15	The purpose of this NUREG document, and for those in the audience for
16	whom this term "NUREG" may not be familiar to you, this is not a new regulation. A
17	NUREG is a guidance document in our regulatory policy.
18	But the purpose is to provide guidance on management issues
19	associated with radiation safety program management and provide guidance on effective
20	tools for programs of varying size rather than focusing upon the specifics of day-to-day
21	operations.
22	Basically the reason we're doing this document is we felt that there was a
23	lot of people, licensees in the regulated community that, for whatever reason, didn't seem
24	

to understand all of the intricacies associated with the management of a radiation safety
 program.

We've had some deficiencies which we shared with the Committee the
last time we gave an overview, some violations that have resulted in significant program
breakdown.

And we felt that we want to ultimately do something about the RSO issue in regulatory space, but it would be unreasonable to do that without first collecting guidance and sharing with the community as to what can be done to more effectively

9 manage a program.

So it's a guidance document that really deals with the management of
radiation safety programs.

We want to clarify the roles of each component of the management
triangle -- The management triangle is the institutional management, the radiation safety

14 committee, and the radiation safety officer

15 -- and to describe their interrelationships, which is really one of communication.

There are times when any particular point of that triangle, if you will, is in akey role to the radiation safety program.

18 What is most important is that they understand their duties and

19 responsibilities and that they communicate well with one another.

Again, this document contains no new requirements proposed or inferred. Rather, it is an attempt to clarify existing regulations. It is, more importantly, an attempt to provide management guidance, as I've said, and It's been written in a fashion that's designed to be user friendly.

1	We have a task force that consists of Janet and myself as well as
2	representatives from each of the five NRC regions that have inspection experience,
3	licensing experience, and two representatives from the Agreement States.
4	And the idea is to prepare a document that is easy to read, user friendly,
5	and can be used by all licensees.
6	have made presentations at a number of annual meetings of professional societies.
7	We made a presentation at the American College of Nuclear Physicians,
8	the American College of Radiation Oncologists and the Radiological Society of North
9	America.
10	We are currently scheduled to make presentations at the annual meetings
11	of the Society of Nuclear Medicine in June and the American College of Medical Physics
12	in June as well.
13	And, of course, we have continued to draft and edit the document. We're
14	probably at this point on iteration 15 or something. These things require a deal of drafting
15	and editing.
16	We also sent this document out to nine organizations soliciting their
17	review and comment. We chose number nine It wasn't an arbitrary number. It was a
18	number that allows us to operate within OMB guidelines.
19	OMB allows us to go out and solicit the comments from nine
20	organizations without going through an OMB clearance process.
21	I mean, we would have preferred obviously to go to as many other
22	organizations or individuals as possible, but in the amount of time that we had, we
23	wanted to get specific input from certain key organizations.
24	

1	So the organizations that we sent the document out and asked that they
2	review it and comment extensively, the American College of Radiology, the Brookhaven
3	National Laboratory which we also have a contract with to do a peer review of this
4	document, the American College of Medical Physics, the American College of Nuclear
5	Physicians, the American Association of Physicists in Medicine, the National Council of
6	Radiation Protection, the Organization of Agreement States, the Society of Nuclear
7	Medicine. Of course, we're soliciting comments and input from this body.
8	And we also recently sent the document to the American College of
9	Radiation Oncologists. ACRO, let me say for the record, had requested the document to
10	comment on it.
11	We ran into this ceiling with OMP clearance, so what we did was we
12	chose to put the document into the public document room, and we provided a copy to
13	ACRO last week.
14	I spoke to that organization this past Sunday morning. They intend to
15	provide us with extensive comments, and their overall reaction to the document was
16	quite favorable.
17	We, of course, put the document through an extensive peer review by
18	NRC Staff, and Management in Headquarters and the Region.
19	The purpose of doing that type of review of getting those types of
20	comments was to try to get as much input as possible on this document, I think I told the
21	Committee last time.
22	What we didn't want to do was create a guidance document that there
23	was a feeling by the community that a group of regulators had set in Washington and

1	So we've gone to these organizations. We've gotten a lot of input. We
2	intend to incorporate to the maximum extent possible the input by those organizations as
3	well as the input by this Committee, and, hopefully, as a result, we'll get a much better
4	document.
5	There are certain key themes within the NUREG document. First of all,
6	there's this concept of a management triangle, that being the executive management, the
7	Radiation safety committee, and the RSO.
8	We discussed the management triangle, and, as I said a few minutes
9	ago, there's an emphasis upon the need for each of the legs of the triangle to carry out
10	their duties and responsibilities and functions and above all to communicate so that the
11	program is managed in an effective manner.
12	We talk a lot about implementation of a radiation safety program with
13	particular emphasis upon having an active radiation safety committee, the conduct of
14	audits that are required in the regulations, and that also serve as useful management
15	tools.
16	We talk a great deal about the need for supervision and training of the
17	various technical Staff, physicists and so forth and the role of authorized users and the
18	RSO in providing the supervision and training.
19	Obviously we talk a great deal about the responsibilities of the radiation
20	safety officers, one of the key chapters in the document as you might expect.
21	We do also talk about resource implications, Staffing, space, equipment,
22	use of contractors and so forth.
23	We do not talk about the dollars that are involved. We do not talk about
24	the fact that we have a if you have a broad scope program with X number of laboratories

1	and X number of technical Staff, you should have an RSO, two technical assistants and
2	the like. That would be inappropriate to do that.
3	What we do talk about, though, is at least the major topics of
4	consideration. We're looking at resources, people, space, equipment, those types of
5	things. And, of course, we provide a lot of management tools and guidance.
6	All right, What we're going to do now is we're going to have Janet's
7	going to go through. As I mentioned, Janet's the project manager for the NUREG.
8	We're going to go through and share with you then the general comments
9	from the peer reviews to date.
10	After we do the general comments from the various peer reviews to date,
11	what I'd like to do I think then is offer this Committee an opportunity to make general
12	comments or observations about the NUREG.
13	After that, then, as I said, Janet will go in and go through each of the major
14	chapters. She will share with you the input provided, the global comments if you will.
15	Obviously there have been many, many comments. We can't share them
16	all with you, so what we've tried to key is lift the key global type of comments. And then in
17	turn, this Committee can provide comments on each chapter.
18	CHAIRMAN SIEGEL: What's the operating timetable?
19	MR. CAMPER: Two hours.
20	MS. SCHLUETER: Oh, I don't think he means right now. I think he
21	means for publication.
22	CHAIRMAN SIEGEL: For the document.
23	MR. CAMPER: It's scheduled to be published in September. September
24	is the date.

1	CHAIRMAN SIEGEL: So that
2	MS. SCHLUETER: That's been our goal.
3	You know, that does depend on continuing review of the peer comments which we have
4	just received about a week and a half ago. Some of them are still coming in.
5	I received comments from the Organization of Agreement States just
6	yesterday as well as some comments from other offices within the NRC.
7	Depending on the magnitude of the changes, our goal is to publish it by
8	September 30th, but we have to allow, of course, some time for the actual publication
9	process, just the electronic processing of the document.
10	So if the changes are of any magnitude, it could be October, November.
11	At the latest, our goal is the calendar year, but we're honestly shooting for September.
12	CHAIRMAN SIEGEL: Is it usual for the Committee, if we can't do it at
13	formal meeting, to inspect, to see those revised documents a couple of times so that
14	individual members of the Committee can see what's been proposed and what's
15	NUREGs, unlike regulations, don't ever really go to a pre-decisional
16	MS. SCHLUETER: Right.
17	CHAIRMAN SIEGEL: NUREGS are simply always open for comment.
18	MR. CAMPER: Barry, I think the answer to that is we will take that into
19	consideration. We haven't scheduled what is one of the key items in the medical
20	management plan. I think what we can do is go back and confer with management to
21	see if that possible.
22	I would say two things in addition to that. One is I think it's a function of
23	how quickly we can get all the comments incorporated and make the adjustment so what
24	we have it at the point where we could let you review it again.

1	And then, secondly, if it means a delay because we can't do that promptly
2	or as quickly as we'd like, then I think our management has to decide whether we want to
3	delay this thing for two or three months to allow it to happen.
4	But it certainly seems to be a reasonable suggestion.
5	CHAIRMAN SIEGEL: Well, I would again, given the fact that the guidelines
6	and NUREGS fall more in the class of meddleings, I'm essentially looking for comment at
7	all times.
8	I'm encouraging, if either of you don't have any mention of responding to
9	comments from members of this Committee that you get a document into our hands as
10	a way that it's kind of an insurance policy for you.
11	It's a way of you knowing that the Committee doesn't feel it's been
12	sandbagged so that at a future meeting, we don't all sit here and say, You know, we told
13	you we would like this, you went ahead and published it anyway, and you are
14	irresponsible.
15	This gives you kind of an insurance.
16	Now, we may all say we hate it even if you'd shown us the changes, but at
17	least you were open about that and we were open about it, so I think, even if you ignore
18	what we say, it is probably in your best interest to get us a copy of something that has
19	been edited at some time up the road.
20	MR. CAMPER: I agree. What I'd like to do is proceed with the idea that
21	we would, to the maximum extent possible, not ignore what you say.
22	CHAIRMAN SIEGEL: I understand.
23	MR. CAMPER: That may in turn cause a delay and that will be the
24	decision to be made.

1	CHAIRMAN SIEGEL: We like that idea.
2	MS. SCHLUETER: Okay.
3	In the comment section that we're going to discuss, there's about six
4	slides or so where we'll step through some general comments which were presented by
5	the professional organizations during the peer review, the Organization of Agreement
6	States.
7	And then we have specific comments that we've summarized for each
8	chapter. And after the specific comments for each chapter, we also have separate
9	slides to summarize what the Organization of Agreement States said about each
10	chapter.
11	We wanted to do that so that we could emphasize the role that the
12	Agreement States played in this project, the fact that we did have two Agreement State
13	representatives on our task force which continue to work with us. And 13 states did
14	respond to the request from the Organization of Agreement States for comment.
15	Under the general comments for the professional organizations, which
16	obviously included different fragments of the medical community, there were radiation
17	oncologists, nuclear medicine types, radiologists, physicists, health physicists, medical
18	physicists, and so forth.
19	As you might imagine, they had a variety of comments and they focused
20	on different portions of the document, and obviously they're coming from different
21	perspectives as to what issues in the radiation safety program they believe are important.
22	And their comments reflect that perspective.
23	
24	

1	Some organizations offered only general comments, philosophical
2	comments. Some organizations offered policy comment or philosophical comments as
3	well as major editorial types of comments.
4	I'm not going to bore the group with the editorial types of changes. That's
5	unnecessary. I also won't go through changes which sort of fall in the middle ground
6	which are changes which suggested that we changed organization of a particular,
7	paragraph, section, chapter.
8	Perhaps something was felt to be repetitive in too many locations, and so
9	forth.
10	So I've lifted only the major comments from each organization. And I have
11	to say from these various groups, the majority of those comments were very favorable.
12	We had very positive adjectives used in their letters back to us. And as
13	you can from the screen, it was believed to be well-written, comprehensive, very useful,
14	also interesting, insightful.
15	It was oftentimes mentioned that there wasn't anything quite like this.
16	Now, you could take that one way or another, I'm sure, but
17	(Laughter.)
18	MS. SCHLUETER: it was believed to helpful in that no one could quite
19	pinpoint a document that was quite so comprehensive in various aspects of the radiation
20	safety program.
21	And, as Larry mentioned earlier, it was an effort to not focus on the details
22	of day-to-day operations. It's really an effort to focus on what's wrong with the
23	management structure in radiation safety. So as you reviewed the document, I'm sure
24	

1 you noticed there was not a lot of detail when it came to day-to-day, hands-on or 2 procedures and policies of implementing the radiation safety program. All of those comments were very supportive, although we can't overlook 3 4 the negative ones. And there are some naturally. And we knew that, and we knew that 5 when we put it out. 6 We knew it was draft. We considered it to be pretty draft in the sense that 7 it did need a lot of editorial polishing. 8 We had nine different authors, which was very difficult to change writing 9 styles, make it uniform. Vocabulary is different obviously from different authors. It was 10 a very difficult and it will continue to be so in order to make it a document that flows a little 11 easier and reads better. It still needs help obviously. 12 The criticism most often was it's too long. Some people believe that it will 13 go to a shelf and sit there. 14 And we were afraid of that when we started writing and decided that 15 obviously there were a lot of sections to cover. 16 So what we did was we tried to make each chapter somewhat stand 17 alone. And this is where the second comment comes from: It's repetitive. 18 Yes, it is repetitive, and it was meant to be repetitive. And that can be a 19 positive. That can be a negative. Obviously you can get bored reading it. 20 But what we're afraid will happen is that individuals who have different 21 interests in the radiation safety program like the manager types, the physicians, the 22 technologists, the physicists, will look to certain chapters out of there and may not read 23 the whole thing. 24

1	I hope the radiation safety officer and a few key other people do, but we
2	run that risk that they will not. So we did repeat information throughout. That can be
3	boring.
4	Obviously sometimes the presentation of ideas is not fully developed.
5	Maybe we reader hanging in certain spots. Obviously we could go back and clear those
6	kinds of things up.
7	And, as I mentioned, there were specific editorial comments that some
8	organizations offered. Obviously some people went through it line by line.
9	And, yes, I was testing to see if you were awake while you were reading it,
10	because, no, there is no such thing as the R-A-Z-E program, RAZE.
11	(Laughter.)
12	DRMS. SCHLUETER: Operator error, the wrong key on a spell-check.
13	RAZE does not exist. It was supposed to be Radiation Safety.
14	I had abbreviated it originally as RS. People didn't like RS. I went back
15	through. I tried to catch all of the RSs., got a few RAZEs thrown in.
16	But it's kind of funny to read the comments because a lot of people have
17	mentioned it. "What is a RAZE?" they asked.
18	(Laughter.)
19	MS. SCHLUETER: It's nothing.
20	Moving along here, okay.
21	Those were the majority of the comments and the consensus of the
22	comments, but I do have a slide here to point out a differing comment from the American
23	College of Nuclear Physicians and the Society of Nuclear Medicine.
24	

1	And we have two main comments, the first of which, obviously you can
2	read, is that there is a serious concern regarding the volume of extraneous information
3	that goes beyond current requirements.
4	Specific examples were provided in their letter for several chapters, and
5	the document does little to clarify existing regulations.
6	There is extraneous information. It's not requirements. It is information
7	that we felt on a day-to-day basis was operational type of information, would help
8	licensee management get a handle on the magnitude of their particular radiation safety
9	program, help them to try to decide who might get the role of radiation safety officer at
10	their facility.
11	It is not tuned or focused in on specific regulatory requirements. Yes,
12	there are regulatory requirements for a radiation safety officer, radiation safety
13	committee, all through Part 35. Obviously Part 20 applies to medical licensees.
14	But this was not our focus. Our focus was much more general than that.
15	It was to give this broad perspective on how you might assess the resources needed for
16	your program and so forth. How do the elements of the management triangle function?
17	And as Larry mentioned, because of this, there are no regulations even
18	cited. I'll take that back. There may be some.
19	There's some in the appendices. We decided to get specific citations
20	therefore, some of where our reporting requirements come from and so forth. Barry's
21	checking on that one.
22	But we took it out of the text because we believed it was a little distracting
23	and also there was the effort to make it more universal to Agreement State licensees, so
24	we removed that.

1	CHAIRMAN SIEGEL: Janet?
2	MS. SCHLUETER: Yes.
3	CHAIRMAN SIEGEL: Do you understand why this concern arises, this
4	issue of introducing too much extraneous information?
5	I think that there is a concern that guidelines have a way of becoming
6	standards and functionally becoming the equivalent of regulations, particularly when a
7	document is prepared by the United States Government and/or by an organization that
8	has premature, like the NCRP, for example.
9	Those official publications tend to be the citable standards that are
10	adopted by other bodies. And it's not at all hard to imagine someone looking through a
11	NUREG and saying, Well, this must be the way to do it.
12	And, JCAHO, for example, could turn to this and say, Gee, it's written in
13	stone here, when, in fact, there may be no legal basis in fact for the information that's in
14	there.
15	So I, although I may or may not agree with SMN comment about too much
16	extraneous information, I think it's important to understand the genesis of the comment.
17	There is ample precedent to indicate that racheting occurs and it occurs
18	through the complex interaction of many different regulatory agencies and many different
19	other organizations.
20	And that focus needs to be kept in mind as you keep an idea about what
21	really needs to be there and what doesn't need to be there.
22	MR. CAMPER: That's a legitimate concern, Barry, and to the maximum
23	extent possible, we're going to make sure that we clarify it in the early parts of this
24	

document, a disclaimer, the scope of the document and what its purpose is and that it
 doesn't create any requirements certainly.

I mean, that, in the final analysis, may not stop certain entities from doing
that, from using it that way, but we need to make that very clear. Certainly we're going to
make it clear to our own Staff, our own licensees, our inspectors the purpose of this
document.

But, you know, on the other hand, we have to weigh that against what we
feel is the need to get this guidance out in some way.

9 MS. SCHLUETER: Well, Larry said exactly what I was going to say.

10 And that brings up the fact that currently now there's not a what we'd like

11 to call a scope of purpose in the beginning of the document. We are going to create one.

12 That's one area that I think this particular can be addressed and more fully explained.

The background and disclaimer will probably go away as two separate
pieces but will be combined into one after our scope of purpose.

15This particular draft that went out, if you know NUREGS, isn't it a NUREG16format at all either. It was an effort to get something out in chapter form. It won't be

17 chapters anymore.

And when I say "NUREG format," there will be a disclaimer also, which is a standard disclaimer on the front cover, which basically says this is not NRC requirements, it was simply guidance, you know, on and on and on. So there a couple of fixes for your concern.

Again, we currently don't have a scope of purpose, but we're going to add one to help clarify some of the issues plus some of the ideas that are in the background, a disclaimer.

1	Some words make reading the text difficult. I agree. That's obvious.
2	There were word choices by some authors which perhaps weren't optimal, so we're
3	going to continue fine-tuning and editing and making it a little bit more consistent in its
4	word choice.
5	A list of acronyms, that definitely needs to happen. There's not that many
6	that are used really. There's quality management program, radiation safety officer,
7	radiation safety committee.
8	There's a few, but there's enough obviously that, if you do pull certain
9	segments out of the document, you may have missed what they stand for. So a list of
10	acronyms will be added.
11	The summaries were the summaries were kind of interesting. The
12	summaries were sort of a last-minute idea in the sense that we first thought putting in an
13	executive summary in the beginning.
14	Once again, we were afraid that management would lift that and go no
15	further, so we decided that perhaps we should place a summary at the end of each
16	chapter. And we did so. And they need more thought.
17	They should not introduce new ideas obviously. They should be more
18	recapturing what was stressed in each chapter, so each summary will have to be redone
19	in order to focus on the major points of each chapter. Okay.
20	Now we have specific comments on Chapter 1. But I'll tell you what, let's
21	just open the floor up to general comments that you'd like to give us on the document as
22	a whole because we'll go into each chapter.
23	And I want to be able to just exchange this information. So if you'd like to
24	pass to us general comments now, we'll be happy to take those.

1	CHAIRMAN SIEGEL: Dennis?
2	MR. SWANSON: Dennis Swanson.
3	My major comment is I would agree. I think that the current version is
4	perhaps too detailed, too specific, and too directive.
5	In addition to the comments that have already been made, I think some of
6	the problems associated with being too specific and too detailed is you lose a loss of
7	your focus, which is to provide guidance on management issues related to radiation
8	safety programs. And it's somewhere it gets lost with all the detail.
9	Some other risks, I think the most important one is that executive
10	management is not going to read it if they get this long document.
11	Our rule of thumb is you give one-page letters to executive management
12	because that's all they read, for example.
13	You risk errors of omissions. From my perspective, my area of practice,
14	nuclear pharmacy, for example, there's no discussion of nuclear pharmacists as
15	supervised individuals.
16	There's no discussing discussion of out-sourcing of nuclear pharmacy
17	services under consultants or outside service.
18	And you risk errors of fact. And again in the document there, for example,
19	there are some errors with regard to the FDA regulation of radiopharmaceuticals
20	permitting the practice of medicine, the practice of pharmacy, so on and so forth.
21	So I think my general comment is again too detailed, too specific and too
22	directive.
23	CHAIRMAN SIEGEL: Bill?
24	

1	DR. GRIEM: Since Indiana, Pennsylvania, at least I've been quite busy
2	looking at misadministrations. And as I see them and then read this over, I wonder if
3	there's been any integration of the material we've been sending in on these medical
4	reviews in an attempt to prevent some of those misadministrations. I haven't seen any.
5	DR. GLENN: Well, maybe not creative. We're looking at the
6	management and supervision aspects, basically where there's evidence of lessons
7	learned in terms of management and supervision.
8	DR. GRIEM: Yes. And it seems to me that we've been working, at least I
9	have, diligently
10	DR. GLENN: Well, certainly the number one finding of the incident
11	investigation team had to do with RSOs and their involvement and their communication.
12	We've tried to address that.
13	If you could maybe give us a little more specific
13 14	If you could maybe give us a little more specific DR. GRIEM: Well, I think that, you know, the way you've got it set up here
14	DR. GRIEM: Well, I think that, you know, the way you've got it set up here
14 15	DR. GRIEM: Well, I think that, you know, the way you've got it set up here is you haven't included the medical physicists really on the therapy side of the equation.
14 15 16	DR. GRIEM: Well, I think that, you know, the way you've got it set up here is you haven't included the medical physicists really on the therapy side of the equation. And if you've got to say, Where's the big radiation? and if isn't it in the
14 15 16 17	DR. GRIEM: Well, I think that, you know, the way you've got it set up here is you haven't included the medical physicists really on the therapy side of the equation. And if you've got to say, Where's the big radiation? and if isn't it in the technetium language, then I am propositioned, but if it's in the high dose rate materials or
14 15 16 17 18	DR. GRIEM: Well, I think that, you know, the way you've got it set up here is you haven't included the medical physicists really on the therapy side of the equation. And if you've got to say, Where's the big radiation? and if isn't it in the technetium language, then I am propositioned, but if it's in the high dose rate materials or device numbers, all kinds of important things that I'd hope would be in there.
14 15 16 17 18 19	DR. GRIEM: Well, I think that, you know, the way you've got it set up here is you haven't included the medical physicists really on the therapy side of the equation. And if you've got to say, Where's the big radiation? and if isn't it in the technetium language, then I am propositioned, but if it's in the high dose rate materials or device numbers, all kinds of important things that I'd hope would be in there. DR. GLENN: Okay. So what you're saying in terms of listing executive
14 15 16 17 18 19 20	DR. GRIEM: Well, I think that, you know, the way you've got it set up here is you haven't included the medical physicists really on the therapy side of the equation. And if you've got to say, Where's the big radiation? and if isn't it in the technetium language, then I am propositioned, but if it's in the high dose rate materials or device numbers, all kinds of important things that I'd hope would be in there. DR. GLENN: Okay. So what you're saying in terms of listing executive management, we haven't said there are certain programs that you have at a medical
14 15 16 17 18 19 20 21	DR. GRIEM: Well, I think that, you know, the way you've got it set up here is you haven't included the medical physicists really on the therapy side of the equation. And if you've got to say, Where's the big radiation? and if isn't it in the technetium language, then I am propositioned, but if it's in the high dose rate materials or device numbers, all kinds of important things that I'd hope would be in there. DR. GLENN: Okay. So what you're saying in terms of listing executive management, we haven't said there are certain programs that you have at a medical institution that carry much higher risks?

1	DR. GRIEM: And I don't see that in this thing. And I think this is going
2	after the wrong thing. That's my sort of general editorial comment.
3	MR. CAMPER: That's excellent.
4	CHAIRMAN SIEGEL: But that's as distinct from including operational.
5	DR. GRIEM: Well, it's a document, but I don't think, given the direction of
6	things happening, at least in radiation oncology, whether this is and where you people
7	fit into it, this really isn't addressing the problem.
8	MS. SCHLUETER: That's true.
9	DR. GRIEM: That's my swan song.
10	MS. SCHLUETER: That was easy.
11	DR. MARCUS: I think my comments will certainly be a continuation of
12	some of the things you all have said.
13	I don't think the NRC has a scientifically valid comprehension of the
14	radiation safety issues involved in nuclear medicine.
15	There are virtually no radiation safety issues in nuclear medicine. The
16	biggest danger in nuclear medicine tend to be poorly done studies, missing diagnoses,
17	not being creative enough with the tools at hand or being hit by a lead pig.
18	But the radiation in itself is a negligible concept in nuclear medicine. And
19	there is a complete lack of quantitative physics, quantitative health physics, radiation
20	biology, internal dosimetry, anything indicating the fact that the health physics
21	considerations in nuclear medicine is, generally speaking, is a no, never mind.
22	The way our drugs are made today, even the potentially total drugs like
23	sodium iodide come very, very well buffered so that we don't have the airborne emission
24	problems with them. And we just don't have radiation problems.

1	When I read sections, for example, about facilities for handling victims of
2	radiation accents, and I sort of looked at it, I was surprised, because my hospital has
3	such procedures because we're near a Navy base and one of the largest ports in the
4	United States and there have been fires and explosions at the port. And Standard Oil is
5	not too far away.
6	And so somebody had to do that. And our hospital did it.
7	Suddenly I realized that what was meant in the document was the human
8	radiation accents from the medical activities within the hospital, and I burst out laughing
9	because obviously there is no correlation between real health physics and that statement
10	in terms of what goes on in a hospital.
11	We don't have radiation accident victims needing special facilities for
12	treatment in nuclear medicine and the very rare situations in radiation oncology,
13	community service the facilities generally are available in any full service hospital.
14	I have problems in the fact that NRC does not have any comprehension of
15	really what the practice of medicine is.
16	There were statements in here that were bizarre about the nuclear
17	medicine physicians having to do physical exams on all the patients to make sure that
18	they really need to have the radiopharmaceuticals administered. Obviously the NRC
19	does not understand the practice of nuclear medicine.
20	Statements such as obviously, you know, it would be ideal if the nuclear
21	medicine physician were physically present every time a does was administered.
22	Obviously, as far as I'm concerned, the nuclear medicine physician has a
23	lot more important things to do.
24	

- Technologists, well-trained technologists can take care of trivial things like
   that very, very well.
- But there are assumptions of the way medicine is practiced, and that
  showed to me the NRC doesn't understand it at all.
- 5 And in fact, I don't think they belong in this area at all either. I think the 6 NRC should be concentrating on radiation safety considerations, the workers and 7 members of the public and should at least understand in terms of nuclear medicine that 8 we just do not have significant radiation sickness problems, and that perhaps one of the 9 reasons why management is even -- well, when they come to the radiation section, we 10 usually fall asleep because there's really nothing of importance discussed when it comes 11 to things like radiation safety in nuclear medicine.
- 12 I was very concerned about management oversight. The NRC is talking 13 about management oversight in medical institutions and I was concerned with 14 management oversight over this document at the NRC. 15 I talked to Dr. Paperiello and Mrs. Thompson and just asked them on the 16 2nd of May -- of May if they had read this document, and at that time, neither of them had. 17 So the draft had gone out for public comments actually without 18 management review of the sort I would have expected to see. 19 Now, I don't know about Dr. Griem, I don't know about Mr. Grenaro, but I'm 20 not sure who with a more advanced education in physics actually did review the 21 document, but it was obvious to me that the people who wrote it were not terribly well-22 qualified in physics. 23
- 20
- 24

1	This document has been written over about a two-year period, and I just
2	don't see management oversight at the NRC of the type that I think ought to be expected
3	by the country in a document like this.
4	I think there needs to be more heightened scientific oversight of a
5	document like this.
6	Kathy Allen, who was one of the Agreement States representatives
7	basically is saying that she did not have an input into the document because she got
8	she was factored by the NRC.
9	The NRC said it was not compatible with the Federal Budget Committee
10	Act and she could be there, but basically not participate in what she considered any
11	meaningful way.
12	John Shark, who started this, quit, from Texas. I don't think that the claim
13	that this was developed with the Agreement States is a very appropriate one.
14	I remember last year at the at the meeting in May, a lot of Agreement
15	State representatives were pretty annoyed that they were not allowed to see any piece of
16	this document.
17	I think the time frame given to people to review the document was far too
18	short. I would like to see the NCR become were they handed in yet?
19	MS. SCHLUETER: Yes. I have individual comments from members of
20	the NCRP and then the Brookhaven National Lab.
21	DR. MARCUS: Okay. I would think it would be good if the Committee had
22	an opportunity to review those.
23	I think that generally summarizes my comments. I know there was some
24	other feelings expressed by the others.

1	MR. QUILLIN: I don't want to sound repetitious, but having been a local
2	licensee and a, I read this document trying to wear both hats, and the document is just
3	too long for management to use effectively.
4	Our theory, as Dennis Swanson said, upper management wants
5	something that's concise and to the point, and probably no more than one page.
6	CHAIRMAN SIEGEL: Any other comments before you go on?
7	Janet, go ahead.
8	MS. SCHLUETER: I just wanted as the project manager, I feel
9	compelled to respond to a couple of Carol's comments, one of which is the participation
10	of Kathy Allen and John Shark.
11	And John Shark did retire. Kathy Allen did work with us and continues to
12	work with us. We did run into a snag with FACA guidelines, having a task force.
13	That was mainly because we had, in the very beginning, developed a
14	charter. The charter threw us into a FACA situation.
15	We explored the FACA issue with our Office of General Counsel. We
16	also discussed it with the State of Illinois from which Kathy Allen comes from, and we
17	developed guidelines for the exchange of information from Kathy Allen throughout these
18	meetings.
19	Basically, Kathy Allen was allowed to provide input on a continual basis to
20	the NRC for comments.
21	She authored more than one chapter. She was at every meeting. She
22	participated in exchanging information via disks, Federal Express, every which way we
23	could get information back and forth. She was very much involved.
24	

1	Also, just because Dr. Paperiello as of the early May had not read it
2	doesn't mean that we in the task force haven't met with our management including Dr.
3	Glenn and Dr. Paperiello and so forth to discuss philosophical ideas, themes of the
4	document, main points, the approach, our time frame, the overall project.
5	They were fully aware of where we were at any given time and felt
6	confident that the document was on the right track.
7	They didn't need to sit down and pore through 170 pages every time I felt
8	like I had a working draft. They have read it at this point in time.
9	MR. CAMPER: I have one or two comments. Dr. Marcus covered a lot of
10	ground.
11	CHAIRMAN SIEGEL: Can you hear him?
12	MR. CAMPER: I was saying Dr. Marcus covered a lot of comments in her
13	general comments, and I don't really want to debate them. I would point out one or two
14	things, though.
15	The document is written in a fashion, as I indicated earlier, to be user
16	friendly, to try to capture as much of the audience in the regulated community as
17	possible.
18	It's not meant to be a textbook of health physics or radiation biology. The
19	group that composed this document, I would submit, does, in fact, have ample
20	background, academically and materially in health physics, radiation safety, radiation
21	biology and the like.
22	But the document wasn't written to be a textbook, if you will. It's written to
23	be a user friendly management guidance document.
24	

1	Now, your comments about the lack of scientific validity, I sense two
2	things. On one hand, I sense that you may, in fact, have some concerns about the
3	regulations that exist, whether or not the proper level of concerns exist in those in
4	regulations for the risks associated with materials used in medicine.
5	Now, that's a regulatory issue. And we are going to revise part of 35 in the
6	future, a major revision. And we do plan to go out with an announced, a
7	rulemaking announcement, and I think that we're going to have an opportunity in the near
8	future to take a look at the regulations.
9	And it's a good opportunity to raise some of these scientific validity
10	questions or risks involved, but that's a different forum, a different vehicle for doing that.
11	But the other thing is I am very concerned, and I would clearly welcome
12	specific comments from you, Dr. Marcus, about the practice of medicine.
13	If there are items in this document that you believe incorrectly state the
14	role of the nuclear medicine physician as it relates to radiation safety or if we have
15	misstated something that really and truly is the practice of medicine, I mean I would
16	certainly clearly welcome those comments, because we definitely do not want to
17	misstate anything about the practice of medicine.
18	DR. MARCUS: Anything about physical examination of patients and
19	reviewing his history, who writes a report, things like that are none of the NRC's business
20	in my point of view from the point of view of public health and safety.
21	These are medical practice issues that are not to be dictated by people at
22	NRC who really are not professionally part of the group that determines this.
23	CHAIRMAN SIEGEL: Well, let's propose we deal with that when we get to
24	that because I also have some concerns with those points in terms of those statements

1	simply just not reflecting the real world and then that becomes my concern as to these
2	things have a way of becoming codified when, in fact, that was not your intent.
3	MR. CAMPER: Right.
4	CHAIRMAN SIEGEL: So we need to give us some information about that.
5	Let me ask, does anybody else have any other general comments at this
6	point?
7	MS. SCHLUETER: Only one, and that is that the task force first met in
8	April of '93 and began writing had the first outlines of the document in July of '93, so
9	we've been working less than one year and not two.
10	CHAIRMAN SIEGEL: Let me ask the Committee to try to reach a general
11	consensus at this point if we can.
12	When we heard a comment from Carol that would tend to point in the
13	direction that this document should simply be thrown away, tend to point in that direction
14	
15	DR. MARCUS: Pointed in it.
16	CHAIRMAN SIEGEL: She was more than specific than that.
17	And I haven't heard any other specific comments to that precise is it the
18	general consensus that this document in its overall purpose and scope fills an
19	information gap and therefore at least conceptually such a document is we would
20	endorse its need for being on the street?
21	Is there a consensus on that point or do members of the Committee think
22	the document
23	(Dr. Marcus raises her hand.)
24	

1	CHAIRMAN SIEGEL: You will have your chance to dissent, Carol. Wait a
2	second.
3	or is there a sense that this document is just worthless and we should
4	recommend that you guys stop doing it now.
5	Joan?
6	DR. McKEOWN: I think that it is a very necessary thing to have as a
7	management document, but I think you also have to be very careful not to overstate risks
8	or understate responsibility.
9	I think the document is necessary. I disagree with a lot of what Dr.
10	Marcus said, but I agree with a lot of what she said.
11	You've got to state the correct problem and make it as short as possible
12	and then have the rest of these
13	But I don't know of any hospital management, executive management
14	person who's going to read more than four pages. Trust me on that.
15	DR. ALMOND: Essentially the same comment. I think it fills a need, but
16	in its present form, it isn't going to be read so it is useless.
17	And it isn't going to be read by management who you particularly want to
18	read it. The RSO might read it and maybe the chairman of the radiation safety
19	committee, but hospital management will not sit down and read this document in its
20	present form.
21	CHAIRMAN SIEGEL: So that leads me to a second comment before we
22	answer or a second question before we answer the first one I posed.
23	Is there anyone on the Committee who thinks this document is too short?
24	(Laughter.)

1	CHAIRMAN SIEGEL: Hearing no objection to that question, I think the
2	repetitiousness and the length of the document really is something you all need to work
3	out.
4	The notion that each chapter will be free-standing may be the document's
5	undoing in a way. And so I would urge you to really carefully consider that.
6	I personally urge you, and we can hear from the others, to reconsider the
7	concept of an executive summary because that is indeed all of it may be read by a CEO-
8	level administrator who ultimately would be the one who is the person you correspond
9	with when you write license notices and violations.
10	On the other hand, I'm not entirely in agreement that a lower-level
11	manager who may be the operational manager responsible or the hospital vice-president
12	responsible for the radiation safety committee or the university facilities officer
13	responsible for the radiation safety committee, you might get a little bit more into the
14	document.
15	I think you all are maybe and less enlightened administrators than I
16	do. I think administrators are starting to pay attention to some of the regulations these
17	days because they recognize the potential adverse impact on our institutions if they don't
18	have a clue about what's going on.
19	So you may get some people to read it, but I clearly think that it's except in
20	summary, for the person who's only read four to six pages, it will serve you well if you
21	can write it with great clarity and use it to point to the appropriate places in the more
22	comprehensive document.
23	Overall, the document is too long and will even be a tough a read for the
24	average radiation safety officer.

1	I was struck by the adjective that the document was interesting, as you
2	said. It took me the better part of four nights about 45 minutes to a hour a night to get
3	through this thing because I didn't find it that interesting.
4	(Laughter.)
5	CHAIRMAN SIEGEL: It was not one of those novels I couldn't put down.
6	(Laughter.)
7	CHAIRMAN SIEGEL: Okay. So I think is there a consensus on that
8	general comment about length, the need for an executive summary, if you all would take
9	that under consideration, and possibly, and certainly with Carol as an exception,
10	consensus that such a document fills an important need?
11	Carol, you'll get a chance to dissent openly in a moment.
12	Does anyone else want ide input on a continual basis to the NRC for
13	comments.
14	She authored more than one chapter. She was at every meeting. She
15	participated in exchanging information via disks, Federal Express, every which way we
16	could get information back and forth. She was very much involved.
17	Also, just because Dr. Paperiello as of the early May had not read it
18	doesn't mean that we in the task force haven't met with our management including Dr.
19	Glenn and Dr. Paperiello and so forth to discuss philosophical ideas, themes of the
20	document, main points, the approach, our time frame, the overall project.
21	They were fully aware of where we were at any given time and felt
22	confident that the document was on the right track.
23	They didn't need to sit down and pore through 170 pages every time I felt
24	like I had a working draft. They have read it at this point in time.

1	MR. CAMPER: I have one or two comments. Dr. Marcus covered a lot of
2	ground.
3	CHAIRMAN SIEGEL: Can you hear him?
4	MR. CAMPER: I was saying Dr. Marcus covered a lot of comments in her
5	general comments, and I don't really want to debate them. I would point out one or two
6	things, though.
7	The document is written in a fashion, as I indicated earlier, to be user
8	friendly, to try to capture as much of the audience in the regulated community as
9	possible.
10	It's not meant to be a textbook of health physics or radiation biology. The
11	group that composed this document, I would submit, does, in fact, have ample
12	background, academically and materially in health physics, radiation safety, radiation
13	biology and the like.
10	blology and the like.
14	But the document wasn't written to be a textbook, if you will. It's written to
14	But the document wasn't written to be a textbook, if you will. It's written to
14 15	But the document wasn't written to be a textbook, if you will. It's written to be a user friendly management guidance document.
14 15 16	But the document wasn't written to be a textbook, if you will. It's written to be a user friendly management guidance document. Now, your comments about the lack of scientific validity, I sense two
14 15 16 17	But the document wasn't written to be a textbook, if you will. It's written to be a user friendly management guidance document. Now, your comments about the lack of scientific validity, I sense two things. On one hand, I sense that you may, in fact, have some concerns about the
14 15 16 17 18	But the document wasn't written to be a textbook, if you will. It's written to be a user friendly management guidance document. Now, your comments about the lack of scientific validity, I sense two things. On one hand, I sense that you may, in fact, have some concerns about the regulations that exist, whether or not the proper level of concerns exist in those in
14 15 16 17 18 19	But the document wasn't written to be a textbook, if you will. It's written to be a user friendly management guidance document. Now, your comments about the lack of scientific validity, I sense two things. On one hand, I sense that you may, in fact, have some concerns about the regulations that exist, whether or not the proper level of concerns exist in those in regulations for the risks associated with materials used in medicine.
14 15 16 17 18 19 20	But the document wasn't written to be a textbook, if you will. It's written to be a user friendly management guidance document. Now, your comments about the lack of scientific validity, I sense two things. On one hand, I sense that you may, in fact, have some concerns about the regulations that exist, whether or not the proper level of concerns exist in those in regulations for the risks associated with materials used in medicine. Now, that's a regulatory issue. And we are going to revise part of 35 in the
14 15 16 17 18 19 20 21	But the document wasn't written to be a textbook, if you will. It's written to be a user friendly management guidance document. Now, your comments about the lack of scientific validity, I sense two things. On one hand, I sense that you may, in fact, have some concerns about the regulations that exist, whether or not the proper level of concerns exist in those in regulations for the risks associated with materials used in medicine. Now, that's a regulatory issue. And we are going to revise part of 35 in the future, a major revision. And we do plan to go out with an announced, a

1	And it's a good opportunity to raise some of these scientific validity
2	questions or risks in. MARCUS: Let me just comment.
3	First of all, there are things in this document that are not in the
4	requirements at all.
5	CHAIRMAN SIEGEL: And we'll come to that.
6	DR. MARCUS: So I think that they don't belong.
7	Number two, you are probably quite correct that the root cause problem
8	are existing regulations that don't make scientific sense, but maybe what you ought to do
9	is not put the cart before the horse.
10	If your basic problem, and I see that definitely it is a basic problem, are
11	requirements that don't make good scientific sense and fix them before you waste a lot of
12	your user fee money writing a document like this that's going to have to be thrown out
13	and redone when you finally fix the root cause problems.
14	CHAIRMAN SIEGEL: Bill?
15	DR. GRIEM: Griem.
16	This is going to administer a certain financial burden, and I would really
17	like to see the cost/benefit ratio.
18	How many errors is this going to prevent as a result of the document? If
19	it's not going to be read, it's not going to be helpful at all. It's going to
20	And I really think the Committee would like to know what's the benefit of
21	this and what's the cost.
22	Finally, I think at least as we move into managed care and so forth, this is
23	going to be an additional burden that must be borne before the money finally gets to the
24	people who do the work.

1	And right now, of your dollar that is spent, one quarter goes to
2	administration. That's in the journals, average.
3	MR. CAMPER: I appreciate your comments about the limitations, if you
4	will, of the document, but again, let me just emphasize that it is not a regulation. It is not
5	even a regulatory document.
6	It is written to provide guidance on one might handle a regulation and
7	consequently is not subject to cost/benefit analyses other than to
8	It is a guidance document. And I think Dr. Siegel has eloquently, as he so
9	often does, captures things.
10	I mean, it's an attempt by the Staff to share with the regulated community
11	the kinds of things that are useful today to the existing NRC state and community
12	regulations.
13	You can't while I certainly agree and sensitize that the document is very
14	long in its length and we'll do what we can to shorten it because the point's well made,
15	but on the other hand, I know of no way to put into a one-page executive summary all the
16	intricacies involved in managing a radiation safety program in institutions of various sizes
17	and various broad scope facilities. That can't be done.
18	What we can do is try to find a way and it may well be that the
19	executive summary is the way to go. It's crisp and succinct and can be useful. And we'll
20	certainly consider that.
21	But let me just emphasize that it's a guidance document. It is not a
22	regulation or a regulatory guide.
23	
24	
24	

1	MS. SCHLUETER: The specific comments on each chapter, two slides
2	on each chapter, the consensus of the organizations, the professional organizations on
3	the first slide followed by comments by the Organization of Agreement States.
4	Chapter 1 is the role of executive management. This is where we
5	introduce the concept of the management triangle which, I believe, needs more
6	explanation, more build-up.
7	It's not explained enough. It's talked about later. We need to build up the
8	management triangle again.
9	This is the first component; the executive management, with the RSO, the
10	radiation safety committee being the would be item two.
11	Again, the term "executive management" may not always be clear to the
12	reader exactly who we're referring to.
13	We need to make it clear that it is the CEO level, administrator level,
14	president level, presidents high. It's top management. It's not the radiology department
15	manager. It is not department managers.
16	It is management, executive management for the facility which has
17	authority to allocate resources to the radiation safety program.
18	Also, an outside inspection of the program may be helpful to assess the
19	performance, but it is not required.
20	The idea there was simply a discussion to recognize that executive
21	management is not going to be familiar with the intricacies of a radiation safety program,
22	the resources needed to run it effectively, the roles of all these parties necessarily, so it
23	may be helpful for management to at least consider to get someone in from the outside
24	

1 to evaluate the effectiveness of their program, the contents of the program,

2 implementation and so forth.

3	It was a light suggestion. It was not in any way meant to be a strong
4	recommendation. It was an idea. It was a concept. It was something we threw in that
5	we thought they may consider if they need help.
6	MR. CAMPER: That's just for Chapter 1 and 2.
7	MS. SCHLUETER: Yeah, you're right.
8	MR. CAMPER: Any
9	MS. SCHLUETER: Yes, because OAR had very little on both of those so I
10	combined them.
11	MR. CAMPER: We're going to cover Chapter 1 and 2. MS.
12	SCHLUETER: The specific comments on Chapter 2, which is the "Role of the Radiation
13	safety committee," we tried to explain their part in the management triangle, their
14	interrelationship with the management, the radiation safety officer.
15	We described their function, of who should be on the Committee, how you
16	decide who is represented on the Committee and their function as far as evaluating the
17	RSO, meetings, and so forth.
18	Executive management should not be a radiation Committee member.
19	This primarily stemmed from the idea, this comment stemmed from the idea that
20	management should not have voting power.
21	They should be an ex officio or de facto member whereby they could not
22	make a difference on a vote when it pertains to radiation safety matters.
23	The RSO should not be RSC chair. That was a very popular comment.
24	These two individuals should not be the same.

1	One comment that's already been mentioned that we should add a third
2	element there. An authorized user should not be an RSO who is the RSC chair. You
3	don't want three units as the same. And that was a single comment.
4	Also one commentor suggested that we discuss possible problems with
5	the large user, meaning someone who's using a great deal of material at their facility,
6	someone in a great deal of power or clout shall we say, as RSC chair who may be in
7	conflict with the RSO.
8	And the management rep should be the RSC chair. So as you can see,
9	that's rather contradictory from the first statement, which is they shouldn't even be a
10	member at all. It's very different.
11	The Organization of Agreement States commented on Chapter 1 and 2.
12	Obviously various states had different reactions on the idea of an exchange program of
13	other licensees.
14	They said that this was resource intense, they hardly to do their own job.
15	They couldn't see going out and evaluating someone else's program when they were
16	barely keeping their own alive.
17	Clarify whether all components of the management triangle had equal
18	importance. Apparently in one portion of the document, we tended to stress that the
19	radiation safety officer was perhaps the most key element whereas we're also
20	simultaneously describing that each component of a management triangle is equal.
21	So obviously there needs to be come clarification on that issue, and also
22	broad scope licensees' authority to approve authorized users.
23	There is a statement in there. I went back to try to capture this yesterday,
24	and I believe it simply is just not clearly written.

1	It almost infers that the NRC would approve those authorized users under
2	a broad scope, and that's simply not true. I think it's just a matter of semantics and it can
3	be cleared up easily.
4	Now, we'll open it up to comments on Chapters 1 and 2 before we move
5	on to Chapter 3. Remember that's the role of the radiation safety officer and the
6	Committee or, excuse me, "Role of Executive Management" and the radiation safety
7	committee.
8	DR. GRIEM: On page 13, paragraph 3, "User group representatives,
9	such as research, pathology, radiation safety and nuclear medicine," well, the big dose
10	users are radiation oncologists or his medical physicists.
11	And I mean, given Indiana, Pennsylvania, and things since then, I think that
12	feedback has to begin there and you have to put the person who has not millicuries or
13	microcuries but curies of stuff needs to be on this Committee or his representative.
14	CHAIRMAN SIEGEL: I'm sorry? Now where are you?
15	DR. GRIEM: The third paragraph, "User group representatives, such as
16	research, pathology" the last sentence in this document here that you sent me, 130
17	pages.
18	CHAIRMAN SIEGEL: Well, in fact, you are addressing an issue that's
19	addressed in the regulations.
20	MS. SCHLUETER: Right.
21	CHAIRMAN SIEGEL: The regulations already require that each category
22	of authorized user must be represented on the radiation safety committee.
23	
24	

1	And, in fact, the comment that you got about who should or should not be
2	a voting member or not a voting member is irrelevant as the regulations currently say
3	who has to be on the Committee.
4	And the management representative has to be a voting member the way
5	the regulations are currently configured.
6	MR. CAMPER: I think I can this is sort of involved in your comment
7	earlier. I think what I'm really hearing here is that we need to make sure that we're
8	capturing larger activity areas, therapy areas, and I'm also hearing the great
9	consequences
10	CHAIRMAN SIEGEL: Right.
11	MR. CAMPER: That's a good point.
12	CHAIRMAN SIEGEL: Now, Bob.
13	MR. QUILLIN: I don't know what edition we're looking at here, but the very
14	first sentence on Chapter 1, where you use the term "radioactive materials safety
15	program" where in the disclaimer, you said you were never going to use that term.
16	You said you were going to use the term "radiation safety program" rather
17	than "radioactive materials safety program."
18	MR. CAMPER: We'll have to double-check it. As we mentioned last time,
19	it is about radiation safety management and it obviously doesn't cover all radiation safety
20	materials.
21	Those are things that we don't regulate, diagnostic x-rays and
22	accelerators and the like, so we'll make sure we capture that concept.
23	
24	

1	DR. QUNILIN: On page 5, the last paragraph, you have a sentence, "The
2	root cause of weak radiation safety programs where inspectors identify significant
3	violations is frequently a breakdown in this communication triangle."
4	That stands alone and sort of leaves me cold. I don't know exactly what
5	you're trying to say here. If you would just try to be more specific, it would helpful so I
6	understood what the real problem is that you're trying to address there.
7	MR. CAMPER: Well, I think what we're trying to say is that one of the
8	things worth looking at where there are incidents, violations and the like, is what is the
9	root cause?
10	And sometimes that root cause, even when it's identified or partially
11	identified, is not being communicated back to the radiation safety committee or the
12	executive management, and therefore the problem is not ultimately resolved.
13	But we perhaps should say it better.
14	MR. QUILLIN: Right.
15	On page 8, at the top, you say, "All RSO must perform their duties in the
16	somewhat nebulous area that exists between firm enforcement of regulations and
17	extremely casual and passive atmosphere."
18	Again, I think that's a rather broad statement, and you set up two extremes
19	here. And one extreme happens to be firm enforcement.
20	Well, I thought you liked firm enforcement, but that seems to be an
21	extreme the way the sentence is written.
22	MR. CAMPER: I agree. I've already in that sentence in my review. I
23	think, first of all, it has a very negative connotation, too much so.
24	I also think it's too touchy/feely or something. It's an adjustment to guilt.

1	MR. QUILLIN: At the bottom, the last paragraph starts, "In the concept of
2	the management triangle, the executive management must be committed to resolving all
3	egregious cases reviewed by the Radiation safety committee."
4	And again you've used a term here which I think needs definition,
5	"egregious cases."
6	In Chapter 2, on page 16, it says, "Additionally, regulatory agencies will
7	also utilize the consultant's report to assess the licensee's response to the findings
8	identified in the report and may cite the licensee for possible violations identified in the
9	consultant report."
10	Colorado's legisLAture has just passed a statute which gives the privilege
11	to such consultant's reports, unless it's specifically required by law or regulation, so a
12	consultant's reports in just a general review of the status of a program is a privileged
13	document. We can have access to that document. We cannot cite to that document.
14	And that kind of privilege may be another state's regulation, so we don't
15	have that option.
16	CHAIRMAN SIEGEL: I think that raises a very important generic concern
17	when we come to the use of consultants.
18	You suggest use of consultants as a valuable management tool, but
19	and I agree that they may well be but it's kind of double jeopardy here for institutions for
20	using consultants.
21	I mean, a consultant can turn out to be a jerk that could provide you with
22	advice that is worthless, and now you're in a position of having to defend yourself against
23	the NRC or an Agreement State regulatory agency or you go bad advice.
24	

1	MR. CAMPER: We thought we had countered that but perhaps we didn't
2	do it. I agree that we should.
3	MS. SCHLUETER: I think what happened is we tried to stay neutral in that
4	we recognized they're used a lot and perhaps used more and more.
5	But in recognizing them and acknowledging that they do perform certain
6	services and sometimes it's good and sometimes it's bad, and if you've got one, you
7	need a contract with them, we may infer that we are suggesting to them that they
8	consider this or we need to get back on the tightrope. Maybe we fell off.
9	MR. CAMPER: Yeah. We don't want to endorse the use of consultants.
10	MS. SCHLUETER: No.
11	MR. CAMPER: We do not want to condemn the use of consultants.
12	MS. SCHLUETER: Well, recognize that it happens.
13	MR. CAMPER: That if you're going to use them, as Janet said, there are
14	pros and cons to be aware of and ultimately, and your point is very well made, is that
15	ultimately the licensee that has the responsibility here.
16	And, frankly, you're right. Some consultants to a great job, and some do a
17	terrible job. We hope we captured that but if
18	CHAIRMAN SIEGEL: Janet, one last comment.
19	MR. QUILLIN: When we briefed the American College of Radiology
20	Commission on Medical Physics back in I guess it was November, the issue was raised
21	about the fact that at some hospitals, the radiation safety committee is the medical
22	Committee and only physicians can vote in certain states on medical Committee
23	matters.
24	

1	In op`dr words, you can have the administration representative not having
2	a vote, the nursing representative not having a vote, and the radiation safety officer not
3	having a vote on such a Committee.
4	And I don't see that concern being addressed in this document.
5	CHAIRMAN SIEGEL: Is that by regulations of certain states?
6	MR. QUILLIN: Under state law.
7	CHAIRMAN SIEGEL: Apparently it's not consistent with NRC regulations.
8	MR. QUILLIN: chapter by chapter, we'll give you and again, the large-
9	scale comments that have been provided to us by the various organizations and
10	individuals that have reviewed the document. And we will invite the Committee to provide
11	input on a chapter by chapter basis.
12	We have a couple of hours to cover this. And I think we have a lot of
13	things to talk about.
14	The purpose of this NUREG document, and for those in the audience for
15	whom this term "NUREG" may not be familiar to you, this is not a new regulation. A
16	NUREG is a guidance document in our regulatory policy.
17	But the purpose is to provide guidance on management issues
18	
	associated with radiation safety program management and provide guidance on effective
19	associated with radiation safety program management and provide guidance on effective tools for programs of varying size rather than focusing upon the specifics of day-to-day
19 20	
	tools for programs of varying size rather than focusing upon the specifics of day-to-day
20	tools for programs of varying size rather than focusing upon the specifics of day-to-day operations.
20 21	tools for programs of varying size rather than focusing upon the specifics of day-to-day operations. Basically the reason we're doing this document is we felt that there was a

1	We've had some deficiencies which we shared with the Committee the
2	last time we gave an overview, some violations that have resulted in significant program
3	breakdown.
4	And we felt that we want to ultimately do something about the RSO issue
5	in regulatory space, but it would be unreasonable to do that without first collecting
6	guidance and sharing with the community as to what can be done to more effectively
7	manage a program.
8	So it's a guidance document that really deals with the management of
9	radiation safety programs.
10	We want to clarify the roles of each component of the management
11	triangle The management triangle is the institutional management, the radiation safety
12	committee, and the radiation safety officer
13	and to describe their interrelationships, which is really one of communication.
14	There are times when any particular point of that triangle, if you will, is in a
15	key role to the radiation safety program.
16	What is most important is that they understand their duties and
17	responsibilities and that they communicate well with one another.
18	Again, this document contains no new requirements proposed or inferred.
19	Rather, it is an attempt to clarify existing regulations. It is, more importantly, an attempt
20	to provide management guidance, as I've said, and It's been written in a fashion that's
21	designed to be user friendly.
22	We have a task force that consists of Janet and myself as well as
23	representatives from each of the five NRC regions that have inspection experience,
24	licensing experience, and two representatives from the Agreement States.

1	And the idea is to prepare a document that is easy to read, user friendly,
2	and can be used by all licensees.
3	All right. Since we talked to you in November, we have made
4	presentations at a number of annual meetings of professional societies.
5	We made a presentation at the American College of Nuclear Physicians,
6	the American College of Radiation Oncologists and the Radiological Society of North
7	America.
8	We are currently scheduled to make presentations at the annual meetings
9	of the Society of Nuclear Medicine in June and the American College of Medical Physics
10	in June as well.
11	And, of course, we have continued to draft and edit the document. We're
12	probably at this point on iteration 15 or something. These things require a deal of drafting
13	and editing.
13 14	and editing. We also sent this document out to nine organizations soliciting their
14	We also sent this document out to nine organizations soliciting their
14 15	We also sent this document out to nine organizations soliciting their review and comment. We chose number nine It wasn't an arbitrary number. It was a
14 15 16	We also sent this document out to nine organizations soliciting their review and comment. We chose number nine It wasn't an arbitrary number. It was a number that allows us to operate within OMB guidelines.
14 15 16 17	We also sent this document out to nine organizations soliciting their review and comment. We chose number nine It wasn't an arbitrary number. It was a number that allows us to operate within OMB guidelines. OMB allows us to go out and solicit the comments from nine
14 15 16 17 18	We also sent this document out to nine organizations soliciting their review and comment. We chose number nine It wasn't an arbitrary number. It was a number that allows us to operate within OMB guidelines. OMB allows us to go out and solicit the comments from nine organizations without going through an OMB clearance process.
14 15 16 17 18 19	We also sent this document out to nine organizations soliciting their review and comment. We chose number nine It wasn't an arbitrary number. It was a number that allows us to operate within OMB guidelines. OMB allows us to go out and solicit the comments from nine organizations without going through an OMB clearance process. I mean, we would have preferred obviously to go to as many other
14 15 16 17 18 19 20	We also sent this document out to nine organizations soliciting their review and comment. We chose number nine It wasn't an arbitrary number. It was a number that allows us to operate within OMB guidelines. OMB allows us to go out and solicit the comments from nine organizations without going through an OMB clearance process. I mean, we would have preferred obviously to go to as many other organizations or individuals as possible, but in the amount of time that we had, we
14 15 16 17 18 19 20 21	We also sent this document out to nine organizations soliciting their review and comment. We chose number nine It wasn't an arbitrary number. It was a number that allows us to operate within OMB guidelines. OMB allows us to go out and solicit the comments from nine organizations without going through an OMB clearance process. I mean, we would have preferred obviously to go to as many other organizations or individuals as possible, but in the amount of time that we had, we wanted to get specific input from certain key organizations.

1	document, the American College of Medical Physics, the American College of Nuclear
2	Physicians, the American Association of Physicists in Medicine, the National Council of
3	Radiation Protection, the Organization of Agreement States, the Society of Nuclear
4	Medicine. Of course, we're soliciting comments and input from this body.
5	And we also recently sent the document to the American College of
6	Radiation Oncologists. ACRO, let me say for the record, had requested the document to
7	comment on it.
8	We ran into this ceiling with OMP clearance, so what we did was we
9	chose to put the document into the public document room, and we provided a copy to
10	ACRO last week.
11	I spoke to that organization this past Sunday morning. They intend to
12	provide us with extensive comments, and their overall reaction to the document was
.—	
13	quite favorable
13 14	quite favorable.
14	We, of course, put the document through an extensive peer review by
14	We, of course, put the document through an extensive peer review by
14 15	We, of course, put the document through an extensive peer review by NRC Staff, and Management in Headquarters and the Region.
14 15 16	We, of course, put the document through an extensive peer review by NRC Staff, and Management in Headquarters and the Region. The purpose of doing that type of review of getting those types of
14 15 16 17	We, of course, put the document through an extensive peer review by NRC Staff, and Management in Headquarters and the Region. The purpose of doing that type of review of getting those types of comments was to try to get as much input as possible on this document, I think I told the
14 15 16 17 18	We, of course, put the document through an extensive peer review by NRC Staff, and Management in Headquarters and the Region. The purpose of doing that type of review of getting those types of comments was to try to get as much input as possible on this document, I think I told the Committee last time.
14 15 16 17 18 19	We, of course, put the document through an extensive peer review by NRC Staff, and Management in Headquarters and the Region. The purpose of doing that type of review of getting those types of comments was to try to get as much input as possible on this document, I think I told the Committee last time. What we didn't want to do was create a guidance document that there
14 15 16 17 18 19 20	We, of course, put the document through an extensive peer review by NRC Staff, and Management in Headquarters and the Region. The purpose of doing that type of review of getting those types of comments was to try to get as much input as possible on this document, I think I told the Committee last time. What we didn't want to do was create a guidance document that there was a feeling by the community that a group of regulators had set in Washington and
14 15 16 17 18 19 20 21	We, of course, put the document through an extensive peer review by NRC Staff, and Management in Headquarters and the Region. The purpose of doing that type of review of getting those types of comments was to try to get as much input as possible on this document, I think I told the Committee last time. What we didn't want to do was create a guidance document that there was a feeling by the community that a group of regulators had set in Washington and created this document without going to the regulating community.

well as the input by this Committee, and, hopefully, as a result, we'll get a much better
 document.

There are certain key themes within the NUREG document. First of all,
there's this concept of a management triangle, that being the executive management, the
Radiation safety committee, and the RSO.

We discussed the management triangle, and, as I said a few minutes ago, there's an emphasis upon the need for each of the legs of the triangle to carry out their duties and responsibilities and functions and above all to communicate so that the program is managed in an effective manner.

We talk a lot about implementation of a radiation safety program with particular emphasis upon having an active radiation safety committee, the conduct of audits that are required in the regulations, and that also serve as useful management tools.

We talk a great deal about the need for supervision and training of the
various technical Staff, physicists and so forth and the role of authorized users and the
RSO in providing the supervision and training.

Obviously we talk a great deal about the responsibilities of the radiation
safety officers, one of the key chapters in the document as you might expect.

We do also talk about resource implications, Staffing, space, equipment,
use of contractors and so forth.

We do not talk about the dollars that are involved. We do not talk about the fact that we have a if you have a broad scope program with X number of laboratories and X number of technical Staff, you should have an RSO, two technical assistants and the like. That would be inappropriate to do that.

1	What we do talk about, though, is at least the major topics of
2	consideration. We're looking at resources, people, space, equipment, those types of
3	things. And, of course, we provide a lot of management tools and guidance.
4	All right, What we're going to do now is we're going to have Janet's
5	going to go through. As I mentioned, Janet's the project manager for the NUREG.
6	We're going to go through and share with you then the general comments
7	from the peer reviews to date.
8	After we do the general comments from the various peer reviews to date,
9	what I'd like to do I think then is offer this Committee an opportunity to make general
10	comments or observations about the NUREG.
11	After that, then, as I said, Janet will go in and go through each of the major
12	chapters. She will share with you the input provided, the global comments if you will.
13	Obviously there have been many, many comments. We can't share them
14	all with you, so what we've tried to key is lift the key global type of comments. And then in
15	turn, this Committee can provide comments on each chapter.
16	CHAIRMAN SIEGEL: What's the operating timetable?
17	MR. CAMPER: Two hours.
18	MS. SCHLUETER: Oh, I don't think he means right now. I think he
19	means for publication.
20	CHAIRMAN SIEGEL: For the document.
21	MR. CAMPER: It's scheduled to be published in September. September
22	is the date.
23	CHAIRMAN SIEGEL: So that
24	MS. SCHLUETER: That's been our goal.

1	You know, that does depend on continuing review of the peer comments which we have
2	just received about a week and a half ago. Some of them are still coming in.
3	I received comments from the Organization of Agreement States just
4	yesterday as well as some comments from other offices within the NRC.
5	Depending on the magnitude of the changes, our goal is to publish it by
6	September 30th, but we have to allow, of course, some time for the actual publication
7	process, just the electronic processing of the document.
8	So if the changes are of any magnitude, it could be October, November.
9	At the latest, our goal is the calendar year, but we're honestly shooting for September.
10	CHAIRMAN SIEGEL: Is it usual for the Committee, if we can't do it at
11	formal meeting, to inspect, to see those revised documents a couple of times so that
12	individual members of the Committee can see what's been proposed and what's
13	NUREGs, unlike regulations, don't ever really go to a pre-decisional
14	MS. SCHLUETER: Right.
15	CHAIRMAN SIEGEL: NUREGS are simply always open for comment.
16	MR. CAMPER: Barry, I think the answer to that is we will take that into
17	consideration. We haven't scheduled what is one of the key items in the medical
18	management plan. I think what we can do is go back and confer with management to
19	see if that possible.
20	I would say two things in addition to that. One is I think it's a function of
21	how quickly we can get all the comments incorporated and make the adjustment so what
22	we have it at the point where we could let you review it again.
23	
24	

4	And then eccendly, if it means a delay because we can't do that promotive
1	And then, secondly, if it means a delay because we can't do that promptly
2	or as quickly as we'd like, then I think our management has to decide whether we want to
3	delay this thing for two or three months to allow it to happen.
4	But it certainly seems to be a reasonable suggestion.
5	CHAIRMAN SIEGEL: Well, I would again, given the fact that the guidelines
6	and NUREGS fall more in the class of meddleings, I'm essentially looking for comment at
7	all times.
8	I'm encouraging, if either of you don't have any mention of responding to
9	comments from members of this Committee that you get a document into our hands as
10	a way that it's kind of an insurance policy for you.
11	It's a way of you knowing that the Committee doesn't feel it's been
12	sandbagged so that at a future meeting, we don't all sit here and say, You know, we told
13	you we would like this, you went ahead and published it anyway, and you are
14	irresponsible.
15	This gives you kind of an insurance.
16	Now, we may all say we hate it even if you'd shown us the changes, but at
17	
17	least you were open about that and we were open about it, so I think, even if you ignore
18	least you were open about that and we were open about it, so I think, even if you ignore what we say, it is probably in your best interest to get us a copy of something that has
18	what we say, it is probably in your best interest to get us a copy of something that has
18 19	what we say, it is probably in your best interest to get us a copy of something that has been edited at some time up the road.
18 19 20	what we say, it is probably in your best interest to get us a copy of something that has been edited at some time up the road. MR. CAMPER: I agree. What I'd like to do is proceed with the idea that
18 19 20 21	what we say, it is probably in your best interest to get us a copy of something that has been edited at some time up the road. MR. CAMPER: I agree. What I'd like to do is proceed with the idea that we would, to the maximum extent possible, not ignore what you say.

1	CHAIRMAN SIEGEL: We like that idea.
2	MS. SCHLUETER: Okay.
3	In the comment section that we're going to discuss, there's about six
4	slides or so where we'll step through some general comments which were presented by
5	the professional organizations during the peer review, the Organization of Agreement
6	States.
7	And then we have specific comments that we've summarized for each
8	chapter. And after the specific comments for each chapter, we also have separate
9	slides to summarize what the Organization of Agreement States said about each
10	chapter.
11	We wanted to do that so that we could emphasize the role that the
12	Agreement States played in this project, the fact that we did have two Agreement State
13	representatives on our task force which continue to work with us. And 13 states did
14	respond to the request from the Organization of Agreement States for comment.
15	Under the general comments for the professional organizations, which
16	obviously included different fragments of the medical community, there were radiation
17	oncologists, nuclear medicine types, radiologists, physicists, health physicists, medical
18	physicists, and so forth.
19	As you might imagine, they had a variety of comments and they focused
20	on different portions of the document, and obviously they're coming from different
21	perspectives as to what issues in the radiation safety program they believe are important.
22	And their comments reflect that perspective.
23	
24	

1	Some organizations offered only general comments, philosophical
2	comments. Some organizations offered policy comment or philosophical comments as
3	well as major editorial types of comments.
4	I'm not going to bore the group with the editorial types of changes. That's
5	unnecessary. I also won't go through changes which sort of fall in the middle ground
6	which are changes which suggested that we changed organization of a particular,
7	paragraph, section, chapter.
8	Perhaps something was felt to be repetitive in too many locations, and so
9	forth.
10	So I've lifted only the major comments from each organization. And I have
11	to say from these various groups, the majority of those comments were very favorable.
12	We had very positive adjectives used in their letters back to us. And as
13	you can from the screen, it was believed to be well-written, comprehensive, very useful,
14	also interesting, insightful.
15	It was oftentimes mentioned that there wasn't anything quite like this.
16	Now, you could take that one way or another, I'm sure, but
17	(Laughter.)
18	MS. SCHLUETER: it was believed to helpful in that no one could quite
19	pinpoint a document that was quite so comprehensive in various aspects of the radiation
20	safety program.
21	And, as Larry mentioned earlier, it was an effort to not focus on the details
22	of day-to-day operations. It's really an effort to focus on what's wrong with the
23	management structure in radiation safety. So as you reviewed the document, I'm sure
24	

1 you noticed there was not a lot of detail when it came to day-to-day, hands-on or 2 procedures and policies of implementing the radiation safety program. All of those comments were very supportive, although we can't overlook 3 4 the negative ones. And there are some naturally. And we knew that, and we knew that 5 when we put it out. 6 We knew it was draft. We considered it to be pretty draft in the sense that 7 it did need a lot of editorial polishing. 8 We had nine different authors, which was very difficult to change writing 9 styles, make it uniform. Vocabulary is different obviously from different authors. It was 10 a very difficult and it will continue to be so in order to make it a document that flows a little 11 easier and reads better. It still needs help obviously. 12 The criticism most often was it's too long. Some people believe that it will 13 go to a shelf and sit there. 14 And we were afraid of that when we started writing and decided that 15 obviously there were a lot of sections to cover. 16 So what we did was we tried to make each chapter somewhat stand 17 alone. And this is where the second comment comes from: It's repetitive. 18 Yes, it is repetitive, and it was meant to be repetitive. And that can be a 19 positive. That can be a negative. Obviously you can get bored reading it. 20 But what we're afraid will happen is that individuals who have different 21 interests in the radiation safety program like the manager types, the physicians, the 22 technologists, the physicists, will look to certain chapters out of there and may not read 23 the whole thing. 24

1	I hope the radiation safety officer and a few key other people do, but we
2	run that risk that they will not. So we did repeat information throughout. That can be
3	boring.
4	Obviously sometimes the presentation of ideas is not fully developed.
5	Maybe we reader hanging in certain spots. Obviously we could go back and clear those
6	kinds of things up.
7	And, as I mentioned, there were specific editorial comments that some
8	organizations offered. Obviously some people went through it line by line.
9	And, yes, I was testing to see if you were awake while you were reading it,
10	because, no, there is no such thing as the R-A-Z-E program, RAZE.
11	(Laughter.)
12	DRMS. SCHLUETER: Operator error, the wrong key on a spell-check.
13	RAZE does not exist. It was supposed to be Radiation Safety.
14	I had abbreviated it originally as RS. People didn't like RS. I went back
15	through. I tried to catch all of the RSs., got a few RAZEs thrown in.
16	But it's kind of funny to read the comments because a lot of people have
17	mentioned it. "What is a RAZE?" they asked.
18	(Laughter.)
19	MS. SCHLUETER: It's nothing.
20	Moving along here, okay.
21	Those were the majority of the comments and the consensus of the
22	comments, but I do have a slide here to point out a differing comment from the American
23	College of Nuclear Physicians and the Society of Nuclear Medicine.
24	

1	And we have two main comments, the first of which, obviously you can
2	read, is that there is a serious concern regarding the volume of extraneous information
3	that goes beyond current requirements.
4	Specific examples were provided in their letter for several chapters, and
5	the document does little to clarify existing regulations.
6	There is extraneous information. It's not requirements. It is information
7	that we felt on a day-to-day basis was operational type of information, would help
8	licensee management get a handle on the magnitude of their particular radiation safety
9	program, help them to try to decide who might get the role of radiation safety officer at
10	their facility.
11	It is not tuned or focused in on specific regulatory requirements. Yes,
12	there are regulatory requirements for a radiation safety officer, radiation safety
13	committee, all through Part 35. Obviously Part 20 applies to medical licensees.
14	But this was not our focus. Our focus was much more general than that.
15	It was to give this broad perspective on how you might assess the resources needed for
16	your program and so forth. How do the elements of the management triangle function?
17	And as Larry mentioned, because of this, there are no regulations even
18	cited. I'll take that back. There may be some.
19	There's some in the appendices. We decided to get specific citations
20	therefore, some of where our reporting requirements come from and so forth. Barry's
21	checking on that one.
22	But we took it out of the text because we believed it was a little distracting
23	and also there was the effort to make it more universal to Agreement State licensees, so
24	we removed that.

1	CHAIRMAN SIEGEL: Janet?
2	MS. SCHLUETER: Yes.
3	CHAIRMAN SIEGEL: Do you understand why this concern arises, this
4	issue of introducing too much extraneous information?
5	I think that there is a concern that guidelines have a way of becoming
6	standards and functionally becoming the equivalent of regulations, particularly when a
7	document is prepared by the United States Government and/or by an organization that
8	has premature, like the NCRP, for example.
9	Those official publications tend to be the citable standards that are
10	adopted by other bodies. And it's not at all hard to imagine someone looking through a
11	NUREG and saying, Well, this must be the way to do it.
12	And, JCAHO, for example, could turn to this and say, Gee, it's written in
13	stone here, when, in fact, there may be no legal basis in fact for the information that's in
14	there.
15	So I, although I may or may not agree with SMN comment about too much
16	extraneous information, I think it's important to understand the genesis of the comment.
17	There is ample precedent to indicate that racheting occurs and it occurs
18	through the complex interaction of many different regulatory agencies and many different
19	other organizations.
20	And that focus needs to be kept in mind as you keep an idea about what
21	really needs to be there and what doesn't need to be there.
22	MR. CAMPER: That's a legitimate concern, Barry, and to the maximum
23	extent possible, we're going to make sure that we clarify it in the early parts of this
24	

document, a disclaimer, the scope of the document and what its purpose is and that it
 doesn't create any requirements certainly.

I mean, that, in the final analysis, may not stop certain entities from doing
that, from using it that way, but we need to make that very clear. Certainly we're going to
make it clear to our own Staff, our own licensees, our inspectors the purpose of this
document.

- But, you know, on the other hand, we have to weigh that against what we
  feel is the need to get this guidance out in some way.
- 9 MS. SCHLUETER: Well, Larry said exactly what I was going to say.
- 10 And that brings up the fact that currently now there's not a what we'd like

11 to call a scope of purpose in the beginning of the document. We are going to create one.

- 12 That's one area that I think this particular can be addressed and more fully explained.
- The background and disclaimer will probably go away as two separate
  pieces but will be combined into one after our scope of purpose.
- 15This particular draft that went out, if you know NUREGS, isn't it a NUREG16format at all either. It was an effort to get something out in chapter form. It won't be
- 17 chapters anymore.

And when I say "NUREG format," there will be a disclaimer also, which is a standard disclaimer on the front cover, which basically says this is not NRC requirements, it was simply guidance, you know, on and on and on. So there a couple of fixes for your concern.

Again, we currently don't have a scope of purpose, but we're going to add one to help clarify some of the issues plus some of the ideas that are in the background, a disclaimer.

1	Some words make reading the text difficult. I agree. That's obvious.
2	There were word choices by some authors which perhaps weren't optimal, so we're
3	going to continue fine-tuning and editing and making it a little bit more consistent in its
4	word choice.
5	A list of acronyms, that definitely needs to happen. There's not that many
6	that are used really. There's quality management program, radiation safety officer,
7	radiation safety committee.
8	There's a few, but there's enough obviously that, if you do pull certain
9	segments out of the document, you may have missed what they stand for. So a list of
10	acronyms will be added.
11	The summaries were the summaries were kind of interesting. The
12	summaries were sort of a last-minute idea in the sense that we first thought putting in an
13	executive summary in the beginning.
14	Once again, we were afraid that management would lift that and go no
15	further, so we decided that perhaps we should place a summary at the end of each
16	chapter. And we did so. And they need more thought.
17	They should not introduce new ideas obviously. They should be more
18	recapturing what was stressed in each chapter, so each summary will have to be redone
19	in order to focus on the major points of each chapter. Okay.
20	Now we have specific comments on Chapter 1. But I'll tell you what, let's
21	just open the floor up to general comments that you'd like to give us on the document as
22	a whole because we'll go into each chapter.
23	And I want to be able to just exchange this information. So if you'd like to
24	pass to us general comments now, we'll be happy to take those.

1	CHAIRMAN SIEGEL: Dennis?
2	MR. SWANSON: Dennis Swanson.
3	My major comment is I would agree. I think that the current version is
4	perhaps too detailed, too specific, and too directive.
5	In addition to the comments that have already been made, I think some of
6	the problems associated with being too specific and too detailed is you lose a loss of
7	your focus, which is to provide guidance on management issues related to radiation
8	safety programs. And it's somewhere it gets lost with all the detail.
9	Some other risks, I think the most important one is that executive
10	management is not going to read it if they get this long document.
11	Our rule of thumb is you give one-page letters to executive management
12	because that's all they read, for example.
13	You risk errors of omissions. From my perspective, my area of practice,
14	nuclear pharmacy, for example, there's no discussion of nuclear pharmacists as
15	supervised individuals.
16	There's no discussing discussion of out-sourcing of nuclear pharmacy
17	services under consultants or outside service.
18	And you risk errors of fact. And again in the document there, for example,
19	there are some errors with regard to the FDA regulation of radiopharmaceuticals
20	permitting the practice of medicine, the practice of pharmacy, so on and so forth.
21	So I think my general comment is again too detailed, too specific and too
22	directive.
23	CHAIRMAN SIEGEL: Bill?
24	

1	DR. GRIEM: Since Indiana, Pennsylvania, at least I've been quite busy
2	looking at misadministrations. And as I see them and then read this over, I wonder if
3	there's been any integration of the material we've been sending in on these medical
4	reviews in an attempt to prevent some of those misadministrations. I haven't seen any.
5	DR. GLENN: Well, maybe not creative. We're looking at the
6	management and supervision aspects, basically where there's evidence of lessons
7	learned in terms of management and supervision.
8	DR. GRIEM: Yes. And it seems to me that we've been working, at least I
9	have, diligently
10	DR. GLENN: Well, certainly the number one finding of the incident
11	investigation team had to do with RSOs and their involvement and their communication.
12	We've tried to address that.
13	If you could maybe give us a little more specific
14	DR. GRIEM: Well, I think that, you know, the way you've got it set up here
15	is you haven't included the medical physicists really on the therapy side of the equation.
16	And if you've got to say, Where's the big radiation? and if isn't it in the
17	technetium language, then I am propositioned, but if it's in the high dose rate materials or
18	device numbers, all kinds of important things that I'd hope would be in there.
19	DR. GLENN: Okay. So what you're saying in terms of listing executive
20	management, we haven't said there are certain programs that you have at a medical
21	institution that carry much higher risks?
22	DR. GRIEM: Right.
23	DR. GLENN: Okay.
24	

1	DR. GRIEM: And I don't see that in this thing. And I think this is going
2	after the wrong thing. That's my sort of general editorial comment.
3	MR. CAMPER: That's excellent.
4	CHAIRMAN SIEGEL: But that's as distinct from including operational.
5	DR. GRIEM: Well, it's a document, but I don't think, given the direction of
6	things happening, at least in radiation oncology, whether this is and where you people
7	fit into it, this really isn't addressing the problem.
8	MS. SCHLUETER: That's true.
9	DR. GRIEM: That's my swan song.
10	MS. SCHLUETER: That was easy.
11	DR. MARCUS: I think my comments will certainly be a continuation of
12	some of the things you all have said.
13	I don't think the NRC has a scientifically valid comprehension of the
14	radiation safety issues involved in nuclear medicine.
15	There are virtually no radiation safety issues in nuclear medicine. The
16	biggest danger in nuclear medicine tend to be poorly done studies, missing diagnoses,
17	not being creative enough with the tools at hand or being hit by a lead pig.
18	But the radiation in itself is a negligible concept in nuclear medicine. And
19	there is a complete lack of quantitative physics, quantitative health physics, radiation
20	biology, internal dosimetry, anything indicating the fact that the health physics
21	considerations in nuclear medicine is, generally speaking, is a no, never mind.
22	The way our drugs are made today, even the potentially total drugs like
23	sodium iodide come very, very well buffered so that we don't have the airborne emission
24	problems with them. And we just don't have radiation problems.

1	When I read sections, for example, about facilities for handling victims of
2	radiation accents, and I sort of looked at it, I was surprised, because my hospital has
3	such procedures because we're near a Navy base and one of the largest ports in the
4	United States and there have been fires and explosions at the port. And Standard Oil is
5	not too far away.
6	And so somebody had to do that. And our hospital did it.
7	Suddenly I realized that what was meant in the document was the human
8	radiation accents from the medical activities within the hospital, and I burst out laughing
9	because obviously there is no correlation between real health physics and that statement
10	in terms of what goes on in a hospital.
11	We don't have radiation accident victims needing special facilities for
12	treatment in nuclear medicine and the very rare situations in radiation oncology,
13	community service the facilities generally are available in any full service hospital.
14	I have problems in the fact that NRC does not have any comprehension of
15	really what the practice of medicine is.
16	There were statements in here that were bizarre about the nuclear
17	medicine physicians having to do physical exams on all the patients to make sure that
18	they really need to have the radiopharmaceuticals administered. Obviously the NRC
19	does not understand the practice of nuclear medicine.
20	Statements such as obviously, you know, it would be ideal if the nuclear
21	medicine physician were physically present every time a does was administered.
22	Obviously, as far as I'm concerned, the nuclear medicine physician has a
23	lot more important things to do.
24	

- Technologists, well-trained technologists can take care of trivial things like
   that very, very well.
- But there are assumptions of the way medicine is practiced, and that
  showed to me the NRC doesn't understand it at all.
- 5 And in fact, I don't think they belong in this area at all either. I think the 6 NRC should be concentrating on radiation safety considerations, the workers and 7 members of the public and should at least understand in terms of nuclear medicine that 8 we just do not have significant radiation sickness problems, and that perhaps one of the 9 reasons why management is even -- well, when they come to the radiation section, we 10 usually fall asleep because there's really nothing of importance discussed when it comes 11 to things like radiation safety in nuclear medicine.
- 12 I was very concerned about management oversight. The NRC is talking 13 about management oversight in medical institutions and I was concerned with 14 management oversight over this document at the NRC. 15 I talked to Dr. Paperiello and Mrs. Thompson and just asked them on the 16 2nd of May -- of May if they had read this document, and at that time, neither of them had. 17 So the draft had gone out for public comments actually without 18 management review of the sort I would have expected to see. 19 Now, I don't know about Dr. Griem, I don't know about Mr. Grenaro, but I'm 20 not sure who with a more advanced education in physics actually did review the 21 document, but it was obvious to me that the people who wrote it were not terribly well-22 qualified in physics. 23
- 20
- 24

1	This document has been written over about a two-year period, and I just
2	don't see management oversight at the NRC of the type that I think ought to be expected
3	by the country in a document like this.
4	I think there needs to be more heightened scientific oversight of a
5	document like this.
6	Kathy Allen, who was one of the Agreement States representatives
7	basically is saying that she did not have an input into the document because she got
8	she was factored by the NRC.
9	The NRC said it was not compatible with the Federal Budget Committee
10	Act and she could be there, but basically not participate in what she considered any
11	meaningful way.
12	John Shark, who started this, quit, from Texas. I don't think that the claim
13	that this was developed with the Agreement States is a very appropriate one.
14	I remember last year at the at the meeting in May, a lot of Agreement
15	State representatives were pretty annoyed that they were not allowed to see any piece of
16	this document.
17	I think the time frame given to people to review the document was far too
18	short. I would like to see the NCR become were they handed in yet?
19	MS. SCHLUETER: Yes. I have individual comments from members of
20	the NCRP and then the Brookhaven National Lab.
21	DR. MARCUS: Okay. I would think it would be good if the Committee had
22	an opportunity to review those.
23	I think that generally summarizes my comments. I know there was some
24	other feelings expressed by the others.

1	MR. QUILLIN: I don't want to sound repetitious, but having been a local
2	licensee and a, I read this document trying to wear both hats, and the document is just
3	too long for management to use effectively.
4	Our theory, as Dennis Swanson said, upper management wants
5	something that's concise and to the point, and probably no more than one page.
6	CHAIRMAN SIEGEL: Any other comments before you go on?
7	Janet, go ahead.
8	MS. SCHLUETER: I just wanted as the project manager, I feel
9	compelled to respond to a couple of Carol's comments, one of which is the participation
10	of Kathy Allen and John Shark.
11	And John Shark did retire. Kathy Allen did work with us and continues to
12	work with us. We did run into a snag with FACA guidelines, having a task force.
13	That was mainly because we had, in the very beginning, developed a
14	charter. The charter threw us into a FACA situation.
15	We explored the FACA issue with our Office of General Counsel. We
16	also discussed it with the State of Illinois from which Kathy Allen comes from, and we
17	developed guidelines for the exchange of information from Kathy Allen throughout these
18	meetings.
19	Basically, Kathy Allen was allowed to provide input on a continual basis to
20	the NRC for comments.
21	She authored more than one chapter. She was at every meeting. She
22	participated in exchanging information via disks, Federal Express, every which way we
23	could get information back and forth. She was very much involved.
24	

1	Also, just because Dr. Paperiello as of the early May had not read it
2	doesn't mean that we in the task force haven't met with our management including Dr.
3	Glenn and Dr. Paperiello and so forth to discuss philosophical ideas, themes of the
4	document, main points, the approach, our time frame, the overall project.
5	They were fully aware of where we were at any given time and felt
6	confident that the document was on the right track.
7	They didn't need to sit down and pore through 170 pages every time I felt
8	like I had a working draft. They have read it at this point in time.
9	MR. CAMPER: I have one or two comments. Dr. Marcus covered a lot of
10	ground.
11	CHAIRMAN SIEGEL: Can you hear him?
12	MR. CAMPER: I was saying Dr. Marcus covered a lot of comments in her
13	general comments, and I don't really want to debate them. I would point out one or two
14	things, though.
15	The document is written in a fashion, as I indicated earlier, to be user
16	friendly, to try to capture as much of the audience in the regulated community as
17	possible.
18	It's not meant to be a textbook of health physics or radiation biology. The
19	group that composed this document, I would submit, does, in fact, have ample
20	background, academically and materially in health physics, radiation safety, radiation
21	biology and the like.
22	But the document wasn't written to be a textbook, if you will. It's written to
23	be a user friendly management guidance document.
24	

1	Now, your comments about the lack of scientific validity, I sense two
2	things. On one hand, I sense that you may, in fact, have some concerns about the
3	regulations that exist, whether or not the proper level of concerns exist in those in
4	regulations for the risks associated with materials used in medicine.
5	Now, that's a regulatory issue. And we are going to revise part of 35 in the
6	future, a major revision. And we do plan to go out with an announced, a
7	rulemaking announcement, and I think that we're going to have an opportunity in the near
8	future to take a look at the regulations.
9	And it's a good opportunity to raise some of these scientific validity
10	questions or risks involved, but that's a different forum, a different vehicle for doing that.
11	But the other thing is I am very concerned, and I would clearly welcome
12	specific comments from you, Dr. Marcus, about the practice of medicine.
13	If there are items in this document that you believe incorrectly state the
14	role of the nuclear medicine physician as it relates to radiation safety or if we have
15	misstated something that really and truly is the practice of medicine, I mean I would
16	certainly clearly welcome those comments, because we definitely do not want to
17	misstate anything about the practice of medicine.
18	DR. MARCUS: Anything about physical examination of patients and
19	reviewing his history, who writes a report, things like that are none of the NRC's business
20	in my point of view from the point of view of public health and safety.
21	These are medical practice issues that are not to be dictated by people at
22	NRC who really are not professionally part of the group that determines this.
23	CHAIRMAN SIEGEL: Well, let's propose we deal with that when we get to
24	that because I also have some concerns with those points in terms of those statements

1	simply just not reflecting the real world and then that becomes my concern as to these
2	things have a way of becoming codified when, in fact, that was not your intent.
3	MR. CAMPER: Right.
4	CHAIRMAN SIEGEL: So we need to give us some information about that.
5	Let me ask, does anybody else have any other general comments at this
6	point?
7	MS. SCHLUETER: Only one, and that is that the task force first met in
8	April of '93 and began writing had the first outlines of the document in July of '93, so
9	we've been working less than one year and not two.
10	CHAIRMAN SIEGEL: Let me ask the Committee to try to reach a general
11	consensus at this point if we can.
12	When we heard a comment from Carol that would tend to point in the
13	direction that this document should simply be thrown away, tend to point in that direction
14	
15	DR. MARCUS: Pointed in it.
16	CHAIRMAN SIEGEL: She was more than specific than that.
17	And I haven't heard any other specific comments to that precise is it the
18	general consensus that this document in its overall purpose and scope fills an
19	information gap and therefore at least conceptually such a document is we would
20	endorse its need for being on the street?
21	Is there a consensus on that point or do members of the Committee think
22	the document
23	(Dr. Marcus raises her hand.)
24	

1	CHAIRMAN SIEGEL: You will have your chance to dissent, Carol. Wait a
2	second.
3	or is there a sense that this document is just worthless and we should
4	recommend that you guys stop doing it now.
5	Joan?
6	DR. McKEOWN: I think that it is a very necessary thing to have as a
7	management document, but I think you also have to be very careful not to overstate risks
8	or understate responsibility.
9	I think the document is necessary. I disagree with a lot of what Dr.
10	Marcus said, but I agree with a lot of what she said.
11	You've got to state the correct problem and make it as short as possible
12	and then have the rest of these
13	But I don't know of any hospital management, executive management
14	person who's going to read more than four pages. Trust me on that.
15	DR. ALMOND: Essentially the same comment. I think it fills a need, but
16	in its present form, it isn't going to be read so it is useless.
17	And it isn't going to be read by management who you particularly want to
18	read it. The RSO might read it and maybe the chairman of the radiation safety
19	committee, but hospital management will not sit down and read this document in its
20	present form.
21	CHAIRMAN SIEGEL: So that leads me to a second comment before we
22	answer or a second question before we answer the first one I posed.
23	Is there anyone on the Committee who thinks this document is too short?
24	(Laughter.)

CHAIRMAN SIEGEL: Hearing no objection to that question, I think the
repetitiousness and the length of the document really is something you all need to work
out.
The notion that each chapter will be free-standing may be the document's
undoing in a way. And so I would urge you to really carefully consider that.
I personally urge you, and we can hear from the others, to reconsider the
concept of an executive summary because that is indeed all of it may be read by a CEO-
level administrator who ultimately would be the one who is the person you correspond
with when you write license notices and violations.
On the other hand, I'm not entirely in agreement that a lower-level
manager who may be the operational manager responsible or the hospital vice-president
responsible for the radiation safety committee or the university facilities officer
responsible for the radiation safety committee, you might get a little bit more into the
document.
I think you all are maybe and less enlightened administrators than I
do. I think administrators are starting to pay attention to some of the regulations these
days because they recognize the potential adverse impact on our institutions if they don't
have a clue about what's going on.
So you may get some people to read it, but I clearly think that it's except in
summary, for the person who's only read four to six pages, it will serve you well if you
can write it with great clarity and use it to point to the appropriate places in the more
comprehensive document.
Overall, the document is too long and will even be a tough a read for the
average radiation safety officer.

1	I was struck by the adjective that the document was interesting, as you
2	said. It took me the better part of four nights about 45 minutes to a hour a night to get
3	through this thing because I didn't find it that interesting.
4	(Laughter.)
5	CHAIRMAN SIEGEL: It was not one of those novels I couldn't put down.
6	(Laughter.)
7	CHAIRMAN SIEGEL: Okay. So I think is there a consensus on that
8	general comment about length, the need for an executive summary, if you all would take
9	that under consideration, and possibly, and certainly with Carol as an exception,
10	consensus that such a document fills an important need?
11	Carol, you'll get a chance to dissent openly in a moment.
12	Does anyone else want ide input on a continual basis to the NRC for
13	comments.
14	She authored more than one chapter. She was at every meeting. She
15	participated in exchanging information via disks, Federal Express, every which way we
16	could get information back and forth. She was very much involved.
17	Also, just because Dr. Paperiello as of the early May had not read it
18	doesn't mean that we in the task force haven't met with our management including Dr.
19	Glenn and Dr. Paperiello and so forth to discuss philosophical ideas, themes of the
20	document, main points, the approach, our time frame, the overall project.
21	They were fully aware of where we were at any given time and felt
22	confident that the document was on the right track.
23	They didn't need to sit down and pore through 170 pages every time I felt
24	like I had a working draft. They have read it at this point in time.

1	MR. CAMPER: I have one or two comments. Dr. Marcus covered a lot of
2	ground.
3	CHAIRMAN SIEGEL: Can you hear him?
4	MR. CAMPER: I was saying Dr. Marcus covered a lot of comments in her
5	general comments, and I don't really want to debate them. I would point out one or two
6	things, though.
7	The document is written in a fashion, as I indicated earlier, to be user
8	friendly, to try to capture as much of the audience in the regulated community as
9	possible.
10	It's not meant to be a textbook of health physics or radiation biology. The
11	group that composed this document, I would submit, does, in fact, have ample
12	background, academically and materially in health physics, radiation safety, radiation
13	biology and the like.
10	blology and the like.
14	But the document wasn't written to be a textbook, if you will. It's written to
14	But the document wasn't written to be a textbook, if you will. It's written to
14 15	But the document wasn't written to be a textbook, if you will. It's written to be a user friendly management guidance document.
14 15 16	But the document wasn't written to be a textbook, if you will. It's written to be a user friendly management guidance document. Now, your comments about the lack of scientific validity, I sense two
14 15 16 17	But the document wasn't written to be a textbook, if you will. It's written to be a user friendly management guidance document. Now, your comments about the lack of scientific validity, I sense two things. On one hand, I sense that you may, in fact, have some concerns about the
14 15 16 17 18	But the document wasn't written to be a textbook, if you will. It's written to be a user friendly management guidance document. Now, your comments about the lack of scientific validity, I sense two things. On one hand, I sense that you may, in fact, have some concerns about the regulations that exist, whether or not the proper level of concerns exist in those in
14 15 16 17 18 19	But the document wasn't written to be a textbook, if you will. It's written to be a user friendly management guidance document. Now, your comments about the lack of scientific validity, I sense two things. On one hand, I sense that you may, in fact, have some concerns about the regulations that exist, whether or not the proper level of concerns exist in those in regulations for the risks associated with materials used in medicine.
14 15 16 17 18 19 20	But the document wasn't written to be a textbook, if you will. It's written to be a user friendly management guidance document. Now, your comments about the lack of scientific validity, I sense two things. On one hand, I sense that you may, in fact, have some concerns about the regulations that exist, whether or not the proper level of concerns exist in those in regulations for the risks associated with materials used in medicine. Now, that's a regulatory issue. And we are going to revise part of 35 in the
14 15 16 17 18 19 20 21	But the document wasn't written to be a textbook, if you will. It's written to be a user friendly management guidance document. Now, your comments about the lack of scientific validity, I sense two things. On one hand, I sense that you may, in fact, have some concerns about the regulations that exist, whether or not the proper level of concerns exist in those in regulations for the risks associated with materials used in medicine. Now, that's a regulatory issue. And we are going to revise part of 35 in the future, a major revision. And we do plan to go out with an announced, a

1	And it's a good opportunity to raise some of these scientific validity
2	questions or risks inrstand what you said. Okay.
3	DRMSSCHLUETER: Okay, Chapter
4	CHAIRMAN SIEGEL: Oh, I'm sorry, Bob and Mel both, so Bob first.
5	MR. QUILLIN: One suggestion on the bottom of page 94, you've got a
6	statement that the "NRC does require that licensees report any event where unplanned
7	medical treatment at a medical facility is provided to an individual with spreadable
8	radioactive contamination on their clothing or body."
9	A reference on that would be helpful.
10	CHAIRMAN SIEGEL: Because that certainly doesn't include
11	(Brief interruption.)
12	CHAIRMAN SIEGEL: Mel.
13	DR. GRIEM: I would like to suggest that you look at your past experience
14	for five years on accidents and so forth and say where we have to put the band-aids to
15	prevent further trouble with this.
16	And if I understand it, one of the Big Ten universities, they walked the
17	isotope all over their campus. Now, how do you prevent that? What went wrong?
18	And I would think that somehow as you handle all of these incidents, you
19	would finally attempt to bring some of this to us and then work this into this document
20	rather than just
21	(Brief interruption.)
22	CHAIRMAN SIEGEL: Did you get that?
23	COURT REPORTER: Not once the bell rang.
24	

1	DR. GRIEM: My concern is that there is no use of the collective data of
2	accidents over the past five years and how this finding feeds back into helping us in the
3	future in the use of radioactive material in the broad sense.
4	CHAIRMAN SIEGEL: Carol.
5	DR. MARCUS: I'd like a comment on page 91 under "Contamination."
6	There doesn't seem be a citation here where the interpretation by the Office of the
7	General Counsel on what is reportable in terms of notification of accidents under Part 20
8	in the situation where the licensee may reasonably expect some type of contamination, a
9	patient vomiting or being incontinent or something like this, and already has proceeded to
10	take care of that.
11	There is a letter that was generated when Mr. Cunningham was here that
12	basically says these are not reportable
13	(Brief interruption.)
14	DR. MARCUS: as incidents or accidents because they are expected
15	some reasonable portion of the time people are prepared to deal with them.
16	I think that interpretation really belongs in here. It took us a little while to
17	get that interpretation
18	and this kind of leaves it out.
19	CHAIRMAN SIEGEL: Doesn't it say that already, Carol, on page 92 that
20	says "contamination resulting from nausea" in fact was in error and should be
21	(Brief interruption.)
22	CHAIRMAN SIEGEL: or incontinence would be associated with the
23	standard procedures and would not usually be reported; the second paragraph on page
24	92.

1	MR. CAMPER: Just for clarification, what Carol is getting at is there is
2	information that came out some years ago, and it's 30.50, and what we would like to do
3	is to further clarify that point.
4	Also, something you're not aware of at this point in time, we do intend to
5	add an appendix to this document that would provide a listing for all information that has
6	been prepared over the last five years, and that would help.
7	But I think at this point, all the words are there, but we could probably add
8	to that to make that point much clearer.
9	DR. MARCUS: "Usually would not be required," that's what it says.
10	Would not usually be required, true.
11	CHAIRMAN SIEGEL: Or it might be required if the accident resulted in
12	overexposure of occupational personnel, then a report might be required, even though
13	you have procedures in place.
14	MS. SCHLUETER: "Interactions with Regulatory Agencies." After doing it,
15	it may more preferably called "Interactions with NRC," because we do limit our
16	discussion to NRC.
17	Regulatory inspections should be done on short notice rather than
18	unannounced. Discussion should be more critical of the regulatory agencies and less
19	neutral.
20	OAS: Differing opinions regarding whether to include this chapter
21	because the existing guides may be sufficient.
22	Strengthen discussion of radiation surveys by the inspector, meaning
23	ambient and contamination wipes. Add discussion on interviewing allegers.
24	

1	Chapter 10, "Interactions with Regulatory Agencies," wasn't something
2	that we initially thought about writing, but as we got into it, we thought that it was
3	important to provide some readers that didn't know a lot about the NRC with some overall
4	information of the general process, meaning how do we license, how do we inspect and
5	a little bit on enforcement.
6	We placed it at the end because we didn't want it to we didn't want to
7	distract the reader with having it up front where we had first placed it.
8	Any comments on 10?
9	MS. BROWN: Is that a different word from alleged with a D in it or is that
10	the same, allegers?
11	CHAIRMAN SIEGEL: A-I-I-e-g-e-r-s. Allegers as in someone makes
12	allegations.
13	MS. BROWN: Oh, okay.
14	CHAIRMAN SIEGEL: I believe the correct term is "alligator."
15	(Laughter.)
16	CHAIRMAN SIEGEL: Any other comments on Chapter 10.
17	MS. SCHLUETER: Okay, that is the last chapter, but we do have a
18	couple slides quickly just on the appendices.
19	I got basically very few comments on any other portion of the document
20	other than a couple on the appendices and one on each, the disclaimer and the
21	background.
22	The comments on the appendices, most people believed that they were
23	sort of the meat of the document. They provided a lot of useful, specific information,
24	practical information.

1	We simply need to add an item to Appendix J, which is a "Sample List of
2	Equipment" that we had provided.
3	As I mentioned, the Organization of Agreement States I think we have a
4	slide on that too, Larry yes.
5	Delete the list of Agreement States because it won't be timely. It's
6	something that will be outdated quickly.
7	Add the use of a survey equipment to training subject list. Delete the
8	sample licenses. They're not helpful to Agreement States license fees or Agreement
9	States who may license very differently than we do.
10	Delete description of NRC's enforcement policy. It should be described in
11	another document.
12	As I mentioned, we got comments on the appendices. I got one comment
13	on the disclaimer, which was simply a clarification on private physician offices, and one
14	comment by ACMSM that again, as I mentioned earlier, we would place just a statement
15	in the background section regarding their serious concern about the development of this
16	document.
17	Other than that, all the comments were on chapters, so does anyone
18	have any comments about the appendices in general or any other sections of
19	documents?
20	CHAIRMAN SIEGEL: Bob.
21	MR. QUILLIN: In Appendix D, you said, "The NRC is in the process of
22	revising its regulations to recognize the following certifications, and it's (G) the American
23	Board of Medical Physics in radiation oncology physics, but there was no specific listing
24	for the American Board of Radiology.

1	In other words, you have criteria for the American Board of Medical
2	Physics but you didn't have any specific criteria for the American Board of Radiology.
3	And in Appendix E, you only listed in items F, G, and H, Medical Nuclear
4	Physics, Nuclear Medicine and Medical Health Physics as criteria, so it didn't seem to be
5	consistent criteria that you're using in the physics area.
6	CHAIRMAN SIEGEL: Carol, any comment?
7	DR. MARCUS: Appendix L, "Catastrophic Incidents." I object to the word
8	"catastrophe" and "catastrophic." We don't have them. We have contamination, but this
9	makes it sound like Chernopyl is happening all over the country, "catastrophe."
10	Appendix O, at the very bottom, you talk about "Notices of Deviation that
11	address violations of non-legally binding commitments, such as an industry good
12	practice or standard."
13	I just have a big question mark on what in the world is this?
14	CHAIRMAN SIEGEL: Where?
15	DR. MARCUS: Appendix O.
16	I don't think you have to give notice of anything that's non-legally binding.
17	And besides whether we're going to accept somebody's idea of good practice or
18	standard.
19	You know, there are lots of organizations that could have standards. That
20	doesn't meant that we have to agree with those standards.
21	And if they're not legally binding, I don't see why the NRC is going to start
22	giving notices of violations.
23	And I was just very confused about this whole thing. I don't understand what it means.
24	CHAIRMAN SIEGEL: Larry.

1	MR. CAMPER: I know we said that we wouldn't respond, but I think this
2	one needs a clarification.
3	A notice of deviation is a long-standing enforcement practice of the NRC.
4	It is not a notice of violation. It is not a legally binding requirement.
5	What we do is when an observation is made that a particular activity is
6	unsafe and it violates an existing standard, we will notify the licensee of that fact and ask
7	them to respond in terms of what the commitments they are making with regard to that
8	deviation.
9	However, they aren't cited. They're not subject to penalties. It may be that
10	on the basis of their response we would order them to modify their procedures and make
11	it legally binding.
12	CHAIRMAN SIEGEL: Mel.
13	DR. GRIEM: Given that reading, what you're really attempting to do
14	ultimately is to prevent an accident.
15	It seems to me that the growing body of material that's on electronic
16	media and and all the rest of that should be included here under Appendix P rather than
17	printed out available in a kind of a news format onto electronic medium.
18	When you consider the amount of data transmitted this way and you wish
19	to get the information out, there's no reason why the NRC shouldn't have some sort of
20	news bulletin with all this document in what I would consider the 21st century.
21	And I think you might show some leadership to some of the other
22	agencies.
23	CHAIRMAN SIEGEL: Please continue.
24	

1	MS. SCHLUETER: We have four general questions that are in your
2	briefing book that we'd like to get a consensus on.
3	The first is, "Is each element of the management triangle adequately
4	discussed in relation to each other?"
5	CHAIRMAN SIEGEL: What page are you on?
6	MS. SCHLUETER: I'm on page 2. Sorry.
7	CHAIRMAN SIEGEL: That's fine.
8	MS. SCHLUETER: We'll do this.
9	CHAIRMAN SIEGEL: That's fine.
10	MS. SCHLUETER: "Is the guidance applicable to most medical programs
11	using byproduct material?"
12	CHAIRMAN SIEGEL: Yes.
13	Dan.
14	DR. BERMAN: Dan Berman.
15	I just "daunting" is a good word for the overall document. It's extremely
16	long and I think it's somewhat frightening to the kind of facility that might be getting
17	involved in use of radioactive materials.
18	It would seem that there is a sub-group of users that are from the
19	diagnostic field, they don't do anything, just diagnostic nuclear medicine, no therapy
20	nuclear medicine, and that perhaps some kind of indication someplace in this document
21	that the amount of paperwork and the amount of requirements for that kind of reduced
22	facility might be considered less, that would be appropriate.
23	MS. SCHLUETER: The answer is yes?
24	CHAIRMAN SIEGEL: The answer is yes. I answered for the Committee

1	DR. STITT: I just have a comment. And I'm sitting here pondering Judith
2	Brown's comments.
3	One of the possible difficulties with the whole undertaking is that it's hard
4	to cross line, going from brachytherapy to bone scan to catastrophes.
5	And we've heard about all of these things in this. And we can't be all those
6	things to all people, and we're trying to pull out things that aren't applicable.
7	If you had some sort of a format where you do only diagnostic in this
8	brochure format, I think it would be very, very usable and much more user friendly and
9	certainly much less like a regulation.
10	So when I fax you or send you my comments, I'm going to reaffirm that. It
11	also might help us organize this thing so people actually do use it.
12	CHAIRMAN SIEGEL: Okay.
13	David.
14	DR. WOODBURY: It's always treacherous when you're trying to help a
15	sister organization with soapbox that I am on with the FDA is try not to put physicians
16	on liability, legal liability.
17	But I read the section on physician must examine or should examine and
18	so on and so on. You're creating a legal that leaves the physician unprotected. We at
19	the FDA are quite against that.
20	And I hope it doesn't happen here. I hope the guidelines to put in the
21	physician out of business as he or she tries to practice medicine.
22	MR. CAMPER: I think the second bullet we've pretty much got the picture.
23	We've covered that.
24	

1	CHAIRMAN SIEGEL: The main thing, fewer topics rather than additional
2	topics.
3	MR. CAMPER: Right.
4	DR. ALMOND: Let me respond to the second question again. I want to
5	go on record one more time as saying that I believe this document contains while
6	there's a lot of helpful, useful information here, I believe it goes way beyond what is
7	needed in a document entitled "Management of Radioactive Materials and Safety
8	Programs," put out by the NRC.
9	In some cases it goes beyond the scope of the NRC. And I think that, you
10	know, for reasons we've expressed or you have in comments, but I want that to go on the
11	record.
12	CHAIRMAN SIEGEL: Okay.
13	MS. SCHLUETER: "Is each element of the management triangle
14	adequately discussed in relation to each other?"
15	CHAIRMAN SIEGEL: Yes.
16	Joan.
17	DR. McKEOWN: I think that Dr I think executive officer with regards
18	to we don't want technologists to be RSOs. Say what you want and let it go at that, not
19	tiptoe around it.
20	CHAIRMAN SIEGEL: Okay. Let's continue.
21	MS. SCHLUETER: "Are the appendices helpful and comprehensive."
22	CHAIRMAN SIEGEL: We've already discussed that.
23	MS. SCHLUETER: I think we had said yes.
24	Anything else because that wraps us up?

1	CHAIRMAN SIEGEL: All right. We're only 45 minutes behind schedule,
2	but that's okay. We know how to play catch-up.
3	Let's move on to the presentation of the National Academy of Sciences
4	with Patricia Rathbun and Kate-Louise Gottfried.
5	Sorry to keep you listening to this discussion while you were waiting to get
6	on the agenda.
7	DR. RATHBUN: I'm pleased to be here today to report to you on the
8	progress on the National Academy of Science study of the NRC's medical use regulatory
9	program.
10	To place this briefing in context, you recall that the Commission directed
11	the Staff to obtain a detailed review and evaluation of the adequacy of the medical use
12	regulatory program. And they directed us to go to an outside group to have them conduct
13	this study.
14	There were three areas that they asked us to take a look at. Number one
15	was the examination of the overall risks associated with the use of ionizing radiation in
16	medicine.
17	Second was an examination of the broad policy issues that underlie the
18	regulation of the medical use of radioisotopes.
19	And third, they asked for a critical assessment of the current framework
20	for the regulation of the medical use of byproduct material.
21	In addition, the Commission asked us, directed us to apprise this
22	Committee of the progress of this work, and this briefing today responds to that
23	Commission directed action.
24	

1	On January 2nd of this year, we were able to award the contract to the
2	National Academy and they are off and running and have had their first Committee
3	meeting.
4	We have invited here today to speak to you Dr. Kate-Louise Gottfried, who
5	is the study director for the National Academy of Science.
6	And at this point, I would like to turn it over to Dr. Gottfried.
7	DR. GOTTFRIED: Just to clarify before we get started, I am a doctor but
8	a Doctor of Law, not in medicine so don't ask me any difficult medical questions.
9	I want to thank Dr. Bathecee, M.U.Y, for allowing me on behalf of the
10	Institute of Medicine of the National Academy of Sciences to talk with you today briefly
11	about this study that's underway.
12	Pat Rathbun actually already summarized in brief what we are doing, and,
13	in fact, I just wanted to give you a little bit of an idea of the genesis of the project as I
14	understand it, too, which was there was the incident in Indiana, Pennsylvania, which
15	precipitated some publicity.
16	The NRC concomitantly was in the midst of reviewing, as they often do, a
17	self-examination, internal programs.
18	November of '92 is when the episode occurred, and subsequent publicity
19	which led up to various interests in this whole project or medical use program.
20	And the NAS was approached by the NRC to provide an independent
21	objective, as Pat stated, objective analysis of the medical program of the Nuclear
22	Regulatory Commission.
23	The Institute of Medicine seemed to be the best facet of the NAS to
24	undertake this study. And about a

-- I suppose it was almost over a year ago that the discussions were underway, and as
of technically January --I myself came on in February of this year -- we started this study.
The brochure I distributed is designed to be user friendly and is actually a
duplication of the charge that we received from the NRC.
The emphasis of our study really has to do with three areas, risk, policy
and regulation. What is the overall risk of ionizing radiation in medical procedures, both
diagnostic and therapeutic; looking at the frequency of errors and the consequences of

8 reactor generated byproduct material in comparison to other modalities of treatment;

9 what are areas with respect to the error rate, mortality, morbidity, the function of patients10 subsequent to radiation treatments.

11 What -- misadministration is a big issues. I don't want to get off on that to 12 any great extent, but at this point to say that it's certainly a facet of the study that will be 13 examined and addressed, we hope with comprehension. Or comprehensively, I should 14 say.

15 The area with respect to policy that we are reviewing is the adequacy of 16 the 1979 policy that is a short three paragraphs. Many of you I'm sure are very familiar 17 with that.

18 The extent of the USNRC involvement with respect to patient follow-up 19 and notification regarding misadministrations and overall policy with respect to the use of 20 medical consultants in the program as well as the whole notion of promoting 21 improvement of quality care designed towards satisfying the in effect quote, "customer," 22 or the patient.

23

1	The quality management rule is clearly an important facet of the current
2	medical use program and we will be reviewing and examining that in terms of its
3	adequacy. That's a subset of what we will be looking at.

The regulatory piece is also, I think, very fascinating from our perspective, a piece of the program. Looking at the federal and state regulation, regulatory authority; its adequacy; whether or not in fact it appropriately addresses the medical use program, whether it needs to be -- this regulatory scheme needs to redesigned. If so, how would that be, what would our recommendation be; the various agencies that are involved, the FDA, the NRC; to some extent the whole state issue of agreement versus non-agreement states.

11 That's the overview for our charge. The committee itself has had one 12 meeting. We plan five more meetings. The next meeting will be in July. These meetings 13 are an opportunity for the committee to convene, review what we've been distributing for 14 to bring them up to speed.

At this point I would say we were in the field stage of a nine-month
process. The committee is a sixteen-member panel committee. If you look in the back
of the brochure it lists the people on the committee.

18 It says that we're a twenty-four month study when reality is we're on a
19 much shorter time frame when you think about the whole publication process, so virtually
20 a year from now we will have a draft, a working draft for the committee to really hone in
21 on and make some determination as to how the final report will look because of the
22 process that's required for the National Research Counsel process with respect to
23 review.

1	Review there is a very extensive and kind of scrutinized process. And it
2	takes anywhere from eight to fourteen weeks for a review of a final report produced by
3	the National Academy of Sciences.
4	Subsequent to that there's another three-month procedure for publication
5	and report. So we're really looking at a final report as of a year from now, or in June at
6	the latest. June, early July.
7	The staff on the list with the committee members is also a list of the staff
8	who happen to be here today, Dr. James Everette and you know Eric Caplan as a
9	research associate and Jeanette Howard is the project assistant. We are the core of
10	this study at the Institute of Medicine.
11	Obviously our report will reflect the committee's assessment of the
12	problems or issues involved, and will be a reflection of the committee's
13	recommendations.
13 14	recommendations. We, in conjunction with the Committee, will coordinate the formal report.
14	We, in conjunction with the Committee, will coordinate the formal report.
14 15	We, in conjunction with the Committee, will coordinate the formal report. But the report is by no means our interpretation of what the a reflection of the
14 15 16	We, in conjunction with the Committee, will coordinate the formal report. But the report is by no means our interpretation of what the a reflection of the committee.
14 15 16 17	We, in conjunction with the Committee, will coordinate the formal report. But the report is by no means our interpretation of what the a reflection of the committee. At this point I would only add that as you can see on the brochure we do
14 15 16 17 18	We, in conjunction with the Committee, will coordinate the formal report. But the report is by no means our interpretation of what the a reflection of the committee. At this point I would only add that as you can see on the brochure we do list the other kinds of activities we'll be involved in. We have some subcommittees that
14 15 16 17 18 19	We, in conjunction with the Committee, will coordinate the formal report. But the report is by no means our interpretation of what the a reflection of the committee. At this point I would only add that as you can see on the brochure we do list the other kinds of activities we'll be involved in. We have some subcommittees that are looking at a variety of issues, education and training, management, data risk issues.
14 15 16 17 18 19 20	We, in conjunction with the Committee, will coordinate the formal report. But the report is by no means our interpretation of what the a reflection of the committee. At this point I would only add that as you can see on the brochure we do list the other kinds of activities we'll be involved in. We have some subcommittees that are looking at a variety of issues, education and training, management, data risk issues. At the same time we are starting what we call a specialty panel. That
14 15 16 17 18 19 20 21	We, in conjunction with the Committee, will coordinate the formal report. But the report is by no means our interpretation of what the a reflection of the committee. At this point I would only add that as you can see on the brochure we do list the other kinds of activities we'll be involved in. We have some subcommittees that are looking at a variety of issues, education and training, management, data risk issues. At the same time we are starting what we call a specialty panel. That panel is a panel that is approaching the various societies, associations and agencies that

1	In addition to that we are planning site visits to various universities,
2	hospitals, even manufacturers across the country. There will be a public hearing which
3	is scheduled at this point for mid-October. And then we may have some what we call
4	both technical panels, those are panels that will give us input that will be much smaller
5	than the specialty panel which is anywhere from 20 to 30 organizations; some technical
6	panels, these panels will be very specific in nature, probably constitute anywhere from
7	five to eight experts in a particular field. The most likely area would be education and
8	training
9	(Brief interruption.)
10	as well as quality management.
11	One thing that hasn't been affected here is that they still are ringing those
12	bells. And we should let the management know that that really can be disruptive. But I
13	don't know if they'd appreciate our feedback, but that is the approach of TQM, feedback.
14	And we will certainly be
15	(Brief interruption.)
16	extensive feedback from the various competing constituents in this
17	area, the various societies and organizations. There's also a hope to have some or
18	not just a hope but an intention that we will get practitioners to talk to us as well as the
19	public. Because the committee
20	(Brief interruption.)
21	can see or you may be able to detect from the list of committee
22	members, it's a very diverse group, a group constituted of, you know, physicians,
23	lawyers, an ethnicist, an economist, a data person, a nurse, a research person, et
24	

1	cetera. So its a very diverse group. It's not as though you're going to take a special
2	group a special group of radiologists to talk to us about this.
3	It's both in strength I'd say in its weakness, because to get any kind of a
4	consensus is going to be interesting to say the least.
5	(Brief interruption.)
6	And with that I think we conclude our time limit.
7	DR. GRIEM: Yes, in your brochure you list radium 223, I think that's a
8	misprint and you really want radium 226 which is the common radium. I think the radium
9	223 is not a common radium.
10	(Brief interruption.)
11	DR. GOTTFRIED: We'll definitely make sure that's corrected.
12	CHAIRMAN SIEGEL: That's good to know.
13	MR. QUILLIN: It starts off with material called radionuclides, and actually
14	radium 226 is not a
15	byproduct material.
16	DR. GRIEM: Yeah, that's true, but I mean if they're going to deal with
17	radium then the common one that people think about is 226.
18	CHAIRMAN SIEGEL: Lest we get diverted at this, we have the
19	organization to tell us how we should be regulating radiation. We had few mistakes in
20	the front end in terms of semantics, that's not a
21	DR. GOTTFRIED: Well, it's not just semantics, though, in that we do
22	need to we understand that the charge has to do with reactor generated byproduct
23	material. And yet we cannot restrict ourselves exclusively to that.
24	

1	CHAIRMAN SIEGEL: Actually it's not clear that that's your charge. I mean
2	I think there is a charge
3	(Brief interruption.)
4	from the overall framework for radiation use in the United States, and
5	you can't advise the NRC with respect to whether what it is doing is sensible or not
6	sensible without looking at all radiation that's regulated and without looking at the way all
7	medical practice is regulated as you're comparing benchmarks
8	DR. GOTTFRIED: Agreed. It's just that the scope of that I mean we
9	have to be realistic, too, in terms of what our committee in five, six committee meetings
10	can accomplish. And I think that's something that we have to really be clear about.
11	We certainly want to undertake as much as we can. But in terms of the
12	NRC's current regulatory authority, it's clear that's that what they're that their regulatory
13	authority is such that
14	(Brief interruption.)
15	we're getting into byproduct material.
16	Now, we have to look at the other areas, but overall ionizing radiation is a
17	really broad
18	CHAIRMAN SIEGEL: Let me ask you another question. Given that your
19	if you had to choose between the following two things in your report, which would you
20	place at the higher importance: Choice one would be a specific set of recommendations
21	about how the NRC should adjust its own regulatory program based on its current
22	legislation and legislative authority; and choice two would be a model statute for
23	someone to submit to congress that would completely do away with the way radiation is
24	

1 regulated and controlled in the United States. Which would your committee currently 2 think is --DR. GOTTFRIED: I mean it's an excellent guestion, and I don't know the 3 4 answer in terms of the committee's interest. I think the committee wants to both address 5 --6 (Brief interruption.) 7 -- the charge as well as provide useful information to the NRC. We 8 certainly don't want to just parrot the existing program and say, here's a synthesis of X, Y 9 and Z, and this is what's being done and, you know, great, it's a great job. That's not 10 what we're commissioned to do and we don't plan to do that. 11 But realistically there's going to be quite a great deal, I think, of -- and I can 12 see from the first meeting -- in terms of the focus. There is a need for the committee to 13 coalesce, and that's a process that's underway at this point in terms of what they're 14 focus ought to be. 15 I certainly think that that could be a recommendation, though. 16 DR. JAMES: You might want to tell Dr. Siegel that it ought to be certain 17 people invited to our next meeting to just discuss that particular issue. And I think we all 18 understand you can't do this without understanding the problem and to understand the 19 problem you have to at least look at --20 (Brief interruption.) 21 -- this is a very diverse committee, and not only for nuclear medicine, this 22 is the most diverse one that we have ever had. So we will have people in just to discuss 23 these issues, but like I say, it was comments that are really well taken, because that's 24 one of the major thrusts of our reasoning process.

1	CHAIRMAN SIEGEL: That's Dr. James for your information. He needs no
2	introduction to most people though you may not know him.
3	DR. CAMPER: A couple of questions or comments.
4	Given that you're conducting detailed interview, there are three areas of exploration. You
5	can openly provide recommendations. I have two questions. One is, the panel meetings
6	that you're going to hold, will those be recorded and transcribed?
7	DR. GOTTFRIED: Are you talking about the committee itself or
8	DR. CAMPER: Any meetings or panel meetings or
9	will there be records of those?
10	DR. GOTTFRIED: They're not public documents. We do have the
11	committee meetings undoubtedly will be recorded and transcribed.
12	DR. CAMPER: With regard to providing a recommendation, will you
13	prepare a background as to the logic that you reached and the rationale which you make
14	your recommendations?
15	DR. GOTTFRIED: Certainly hope to. We usually have a problem with
16	excess as opposed to we have 400-page reports instead of user-friendly 200 page
17	reports.
18	CHAIRMAN SIEGEL: Would you get into the broad topic of
19	mammography?
20	DR. GOTTFRIED: That's a good question. I to some I would guess
21	to a limited extent.
22	CHAIRMAN SIEGEL: Dennis?
23	DR. SWANSON: With the health care reform, those of us who are
24	involved in the provision of medical care are being required to make cost effective

- 1 decisions. I get rather concerned that the same requirement is not being put on those
- 2 people who regulate us. And I would certainly

-- it does not appear as part of the charge. But I think in review of the regulations and the
regulatory authority cost effectiveness of the regulations and dual regulatory authority
must be a charge to this committee.

6 DR. GOTTFRIED: Well, I appreciate that comment, and in fact one area I 7 omitted to discuss was that we are also commissioning papers, and those are papers 8 that -- it's a form that -- or a style that the NAS/IOM often uses, which is to commission 9 papers from experts in the various fields to talk to us or write to us about some esoteric 10 topics that we don't have the time to really delve into.

And in fact one of those areas that will undoubtedly be commissioned is a
 paper looking at the cost of the regulatory process.

13 CHAIRMAN SIEGEL: Dr. Berman, questions?

DR. BERMAN: Just to further something that Barry brought up. At least even if you don't go all the way to X-ray and the dichotomy between byproduct -- I mean reactor produced products and cyclotron products, it seems to not take into account the realities of products where so much of it is related to cyclotrons.

DR. GOTTFRIED: Right, I absolutely agree. I don't think we can avoid cyclotron accelerators, et cetera. I think that we will discuss that, the historical evolution as to why the NRC regulates only reactor generated byproducts and explain that we think that perhaps that is not appropriate, not the best approach to dealing with this field. DR. BERMAN: And another question. This relates to the first examination

of the overall risk associated with the use of ionizing radiation in medicine. I guess the
question is, if you find that the risk is indeed small for diagnostic kinds of procedures

1 would you then be going and looking further into the kinds of regulatory requirements with 2 respect to who can perform and interpret these kinds of studies that you're speaking of? 3 DR. GOTTFRIED: I don't know the answer to that. I mean I think that we 4 will probably find that the risk associated with the diagnostic procedures is negligible. 5 And how much further we'll go with that at this point I can't speak for the committee. 6 CHAIRMAN SIEGEL: Will you be able to do all this in nine months? 7 DR. GOTTFRIED: Well, that -- that's why I said to you let's be realistic. I 8 mean we talk 24 months but the time frame is actually a lot shorter. 9 CHAIRMAN SIEGEL: It sounds like with all the panels and subgroups and 10 getting people's travel schedules together to arrange for interviews and site visits is going 11 to be quite an undertaking. 12 DR. GOTTFRIED: Well, what I've done already actually during the very 13 first few weeks that I was on board is to set up the six committee meetings, and that's 14 already scheduled and on everyone's calendar. So we're very pleased with that. 15 With respect to the site visits, we're hoping to conduct those over a four 16 month period in the fall. And as well as the public hearing in the fall. And then the 17 technical panels will be convening to meet intermittently. 18 So you know, it's a tall task. And we don't want to bite off much more than 19 we can chew. What we want to do is realistic and I hope we come up with a useful 20 report. 21 CHAIRMAN SIEGEL: To what extent does your committee want to hear 22 from this committee, and by way of an answer? 23 24

1	DR. GOTTFRIED: I think at this point what they have voiced is an interest
2	in having someone be present at the second meeting in July to give them sort of more
3	perspective on what the issues are.
4	CHAIRMAN SIEGEL: Is it likely that there would ever be a face to face
5	with the two groups or a joint meeting; is that in your
6	DR. GOTTFRIED: It's certainly a possibility. I don't that hasn't been
7	something that we've been, you know, approached about or considered at this point. But
8	I think that certainly would be discussed at the next meeting.
9	CHAIRMAN SIEGEL: Are you going to have that meeting at the
10	immunology branch of
11	DR. GOTTFRIED: It's certainly possible. Are there people in particular
12	that you're thinking of, and if so we could
13	CHAIRMAN SIEGEL: Yeah, John Boyce.
14	DR. GOTTFRIED: The only thing I would say about just to go back to
15	the conjoint meeting would be if we could organize it if it's of mutual interest and we
16	could orchestrate it so that it was at the time of our committee meeting so that we aren't
17	duplicating the travel. That would work well.
18	CHAIRMAN SIEGEL: Well, certainly a conjoint meeting might be very,
19	very helpful to orchestrate.
20	Any other questions?
21	DR. GOTTFRIED: Thank you.
22	CHAIRMAN SIEGEL: Thank you.
23	DR. GLENN: I decided not to put it on my tie like I did at the last time. I
24	understand I entertained the Committee with my heartbeat during the presentation.

	100
1	CHAIRMAN SIEGEL: And we noticed an arrythmia.
2	(Laughter.)
3	DR. GLENN: As Dr. Griem has mentioned a couple of times this morning,
4	we are seeing events in radiation therapy that in some ways I think are significant.
5	We do try to look at the reports that we get, the investigations that we do,
6	and see if there are trends that develop.
7	And we're coming to you this time believing we have seen some trends.
8	And we're looking for some input from the Committee in terms of what the right approach
9	for us to take with respect to these trends is.
10	We'll be proposing, are the standards already there; is there a need for
11	standards to be developed; what should be the role of the NRC in terms of trying to
12	correct what we believe are some problems.
13	The first slide I have shows the history for the most recent complete four
14	years with respect to this administration reporting. It's a little hard to draw a clean-cut
15	conclusion from the data because as most of you are aware we changed the reporting
16	requirements in 1992. So some things that were not this administration's before 1992
17	became for this administration reportable. Some things that were reportable were
18	eliminated.
19	So we have a little bit of apples and oranges phenomenon here, but the
20	changes were not too great in the categories that I've listed here.
21	There is a lot of bouncing up and down on teletherapy but on the average
22	it doesn't seem like we're seeing anything too different today than we were seeing four
23	years ago.
24	

1	The same thing with radiopharmaceuticals, and mainly that is iodine
2	administrations, either that were diagnostic and got into the therapeutic range by mistake
3	or the wrong patient receiving the iodine.
4	However, where we have seen trends and that's what we're coming to
5	the Committee today with is with respect to brachytherapy. In 1990 we had eight total
6	misadministrations reported. And it has gone up ever since then, and in 1993 we jumped
7	into nearly well, between 20 and 30 reported misadministrations.
8	So clearly brachytherapy is where the new sensitivity generated by the
9	quality management rule and the new reporting requirements which I think sharpened the
10	definitions and made it a little easier to determine what is or is not a misadministration,
11	although that is still an area of some controversy.
12	But anyway, we're getting more reports. And there are some issues that
13	we believe are coming out of the kinds of misadministrations that we're seeing.
14	Next slide.
15	DR. ALMOND: Can I just a matter of clarification on the brachytherapy.
16	Nearly all brachytherapy isn't that afterloading. Do you mean manual
17	afterloading or remote afterloading?
18	DR. GLENN: We mean remote afterloading, yes.
19	Okay, an issue that came to our attention relatively recently, and in fact we
20	amended the agenda in order to bring this issue up we had a couple of reported events
21	in the recent months where there was a significant error in terms of the delivery of a
22	fraction of a brachytherapy dose as opposed to the total brachytherapy dose being off.
23	
24	

1	Although we had been aware of fractionated brachytherapy we really had
2	not focused on it, and at the time that we developed the quality management rule and the
3	revised misadministration reporting requirements we did not factor that in at all.
4	We put in a definition for teletherapy, for what constituted
5	misadministration with respect to errors of fractions. But we did nothing similar in terms
6	of brachytherapy.
7	So what we would like the Committee to help us with is to understand the
8	significance of an error in a fraction dose.
9	We realize that if the whole dose is delivered too quickly that there could
10	be very significant effects. But we don't know if it's a significance that it would be in
11	teletherapy, and we're looking for some input from the Committee.
12	The next slide poses a question. And that is in view of the types of
13	fractionated errors that we cite in the preliminary notifications, what harm or risk if any
14	does the Committee believe is associated with the levels of errors that we've seen. And
15	that would be where maybe you have a 70 to a 100 percent excess in one dose out of
16	say two. Is that a real problem. But we'd like to get the Committee's input.
17	CHAIRMAN SIEGEL: Judith, Peter.
18	DR. ALMOND: I'll let my medical colleagues here go first, and then I'll
19	comment.
20	DR. STITT: No, you go first, I'm still looking for the graph. I've had it in
21	front of me
22	DR. ALMOND: Well, it seems to be in terms of fractionated
23	brachytherapy that each case is probably going to be quite different.
24	

1	There would be some general sort of broad categories, but I don't think it's
2	going to be possible to say that 10, 20, 30 percent over is as serious as maybe 10, 20 or
3	30 percent over in other cases.
4	And I think you're almost going to have to look at it on a case-by-case
5	basis.
6	(Brief interruption.)
7	DR. GRIEM: I think each tissue is different. What you can get away with,
8	and that is when the attorney finally gives it back to you, is different for each tissue.
9	When it comes to central nervous systems, if you bend it a little bit it's
10	okay, but if you hit it a little too hard you're in big trouble, and the attorney is looking for
11	that, particularly when it causes paraplegia.
12	And that's unacceptable to society, whereas in skin or some of the other
13	areas you may be able to get away with a little bit more.
14	So to fix a number like 20 percent or 30 percent, tell me the tissue and I'll
15	tell you what you can get away with, okay.
16	And I suppose that's not really the answer you want. That's the real
17	DR. GLENN: Well, to some degree it may be. I think you're telling us
18	there are cases where it could be quite significant and that we may need to know about
19	them so that we can make a judgment with the aid of our medical consultants on a case-
20	by-case basis.
21	DR. GRIEM: I wrote a chapter on light tissue effects for a symposium
22	particularly in CNS so there are areas of the brain that are more sensitive than other
23	areas. When you get around the sella turcica you're in much more trouble than
24	you are in some of the other areas, at least based on the data.

1	And I think the juvenile brain is different than the adult brain. So I think you
2	have to and finally, if one is giving chemotherapy concomitant to this, then you add
3	another unknown factor.
4	So I think the question is not a simple one. And I think to answer it today
5	with certainty is not possible.
6	DR. STITT: I've got some strong feelings, because I do lots and lots of
7	(Brief interruption.)
8	DR. STITT: Which reminds me, you need to get yourself one of those so
9	when you're tired of listening to us just ramble on you just ring that.
10	(Laughter.)
11	DR. STITT: Let me ask you a question about when we're talking about the
12	fractionated numbers, it's my feeling that we're really most likely referring to those that
13	come from the fractionated high dose rate, rate of therapy. Is that your sense also?
14	DR. GLENN: Well, I would invite your comments on that. It's certainly the
15	Staff's view, was that that's where there could be a problem.
16	DR. STITT: Right, and it's my view too, because of the rate of therapy
17	we're talking about a course of treatment. And to do this little tweakings or soft touches
18	from one day to the next, but and I'm coming to it from two sometimes conflicting
19	views.
20	One is as a clinician that does a lot of clinical work, and as I said, Jan
21	Schlueter knows a lot of national lecture circuit regarding high dose rate brachytherapy.
22	And then the other problem that I'm having with this is that of the medical
23	consultancy, because I am way behind and I've got stacks of stuff with me today doing
24	medical consultations for what are particularly high dose rate administrations.

1	And I see these people trying to squirm out of what are clearly in my mind
2	as a clinician misadministrations, by saying yeah, looking at the overall picture, this really
3	isn't a misadministration.
4	So to get down to some of the things that are more concrete, when you
5	look at high dose rate brachytherapy from biologic viewpoints, these fractions really take
6	on the biology of a fraction given in the teletherapy sense, that is the linear accelerator
7	dose, dose per fraction, time that dose is given.
8	And I think that we do need to address this question
9	(Brief interruption.)
10	DR. STITT: I'm not done yet and come up with something as concrete
11	as we can, because I think in the high dose rate brachytherapy this is a real issue. We
12	are commonly getting 900 to 1,000 centigrade of a fraction. That has to have a biologic
13	affect.
14	And there's no question in my mind that we as clinicians, we as NRC are
15	going to be seeing a lot more high dose rate brachytherapy misadministrations.
16	There are some fascinating ways to do misadministration with high dose
17	rate brachytherapy. Ways that we never envisioned. Every time I get a call from
18	somebody from a regional office I think oh, what is it this time.
19	So I think we need to try it if it has to be done.
20	DR. GLENN: Okay, I wonder if I could propose a corollary to this question.
21	And that is, do you think it's important enough for the NRC to be getting reports about
22	these events?
23	We've essentially had a couple of events reported to us where you could
24	argue that there was no reporting requirement that required them to do it.

1	Do you think it's urgent enough that we need to do something to make
2	sure we get these reports until such time as we can get a rule-making through?
3	CHAIRMAN SIEGEL: What manner is it that you could do that?
4	DR. GLENN: Well, we could do it by orders. We could try for a fast rule-
5	making. My experience with fast rule-makings is that they end up being more
6	troublesome than they accomplish.
7	DR. ALMOND: Can you restate the question?
8	DR. GLENN: The corollary is, is the issue of a significant error in a single
9	fraction of a brachytherapy dose, at high dose rate I think is what we're saying, what
10	would be the problem.
11	Is that a sufficient concern that the NRC should be doing something in the
12	very near term to make sure it's getting those reports?
13	DR. ALMOND: It's my impression you are getting those reports. I mean
14	the numbers that you gave us show that reports are coming in. You've said that you've
15	got some which may or may not be misadministration, and I think generally the
16	community is aware of this misadministration rule.
17	And generally when there's a question, they are leaning towards reporting
18	it rather than not reporting it. I would be surprised if you're missing many such
19	occurrences.
20	DR. GLENN: Well, our definition for the written directive for brachytherapy
21	only requires that the total dose, the number of sources, the time, those things be listed.
22	So if in fact the total dose given over the treatment is correct, there
23	probably is not a clear-cut reporting requirement in our regulations.
24	

1	CHAIRMAN SIEGEL: The issue really relates more fundamentally to the
2	regulations regarding written directives for fractionated brachytherapy.
3	DR. GLENN: Right.
4	CHAIRMAN SIEGEL: And HDR, specifically, which we agreed in a
5	previous meeting, was in sort of a regulatory gap.
6	DR. GLENN: It would also go to the definition of a misadministration, also,
7	where we'd have to define it.
8	CHAIRMAN SIEGEL: Right now the definition of a the dose definition of
9	a misadministration for brachytherapy is calculated "administered dose differs by more
10	than 20 percent"" so if you're supposed to get two 600 centigrade or REM fractions,
11	depending on what you like, and if you gave a 1,000 and 200, you're still okay, even
12	though
13	the 1,000 fraction may be a lot more than you wanted to do. You're still okay by the NRC
14	definition of a misadministration.
15	So what am I hearing? Is the consensus that there ought to be reporting
16	of these events?
17	DR. STITT: Well, I think they ought to. And I get questions from regional
18	offices saying an institution called us, they're trying to figure if it's a misadministration or
19	not, and they're asking my opinion. And it just it falls between the cracks. It's not
20	stated. But in order to try to make an assessment I think we have to know how often and
21	to what degree we're seeing this.
22	I don't know how to speak to that. That's my opinion, and Peter may have
23	a different one.
24	

DR. ALMOND: Well, I think we've stated it. To come up with the numbers to give you as guidelines is very difficult to do, because I think, you know, if you do G-Y-N fractionated high dose rate, that's a completely different situation than if say you're using two high dose rates in another area as opposed -- which is upon the next -- after external beam treatment.

And in order to give, you know, 20 percent or 50 percent over on one and
 adjust it on the other really is not a serious problem. I mean, it depends upon each case.
 CHAIRMAN SIEGEL: There are really two issues here. In fact there are
 two issues -- there are two fundamental issues on the table whenever we talk about
 misadministration reporting.

11 There is the societal issue of if there's something wrong with the system 12 by getting the data we can figure out how to fix the system.

And then there's the individual patient's right issue. If patients are being injured as a result of these events, the NRC perceives that it has a responsibility to make sure that the patient's rights are being protected as a result of these errors.

16 There may be some disagreement in a later discussion about how far the 17 NRC ought to get into that loop. But those are the two fundamental reasons that underlie 18 misadministration reporting, that underlie the revised quality management rule and the 19 whole bit.

And I think that even if we're not sure exactly where the threshold should be set for harm, then setting the threshold is a way of trying to uncover in some temporary fashion by order or whatever, what the systematic errors are to make sense. And I'll just throw a number out on the table without any biological reason for so doing. Pick the 20 percent number. And that number would be -- but if a particular 1 fraction differs by more than the 20 percent, calculated or planned, that that may be an

2 event this is worthy of a systematic evaluation.

3 Carol? DR. MARCUS: I've been hearing individuals talking about how terrible this 4 5 is and you might consider a system where the authorized user physician, when he writes 6 his order, puts down the range that he will accept. 7 I do that with my radionuclide therapies and that determines the variability 8 in that situation that I think is acceptable. 9 As soon as you put a number on it, you're defining sin. And that may not 10 be -- whether NRC defines it as sin or the Cleveland Plain Dealer defines it as --11 (Brief interruption.) 12 DR. MARCUS: We end up being sin, and I think it's dangerous to just put 13 a number on it without a biological need. 14 CHAIRMAN SIEGEL: That's the risk we've always got with all 15 misadministration is that it has the potential to be criminalized. 16 Nonetheless, there is important value in gathering data about what's going 17 on with new technology as it's being applied in practice and without a way to gather the 18 data, you can't analyze what the problems are. 19 Mel. 20 DR. GRIEM: Several meetings ago Dr. Flynn and I debated this issue. I 21 lost and Flynn won. It was set at 10 percent. 22 And I agreed with your number and probably Dr. Stitt would agree that 20 23 percent is probably a better threshold or number to work through, partly because 24

1 brachytherapy has the problems of geometric placement that make the 10 percent level 2 almost impossible to achieve. 3 DR. STITT: It's written as 10, so it probably doesn't matter --CHAIRMAN SIEGEL: Where are you? Where is written as 10? That's a 4 5 recordable -- recordable rather than a misadministration. 6 When you write a brachytherapy prescription you don't write it as plus or 7 minus 20 percent. 8 DR. STITT: No, it has to be specific to the decimal, you know, first 9 decimal point. 10 CHAIRMAN SIEGEL: You mean for the dose to be 4,000 centigrade, not 11 anywhere between 3,000 and 5,000. So consequently that's about the reporting 12 threshold. 13 DR. GLENN: Question. Does the misadministration quality management 14 rule need to be changed at all -- you said earlier that it says total dose, when in fact it 15 simply says for recordable event, calculated dose differs by greater than 10 percent. For 16 misadministration, calculated administered dose differs by greater than 20 percent. 17 And does simply a notice have to go out that this applies to both the 18 fractionated dose and the total dose. 19 CHAIRMAN SIEGEL: As Larry pointed out to me just a few minutes ago, 20 the real issue is what the written direct requires. And he said that the written directive for 21 the brachytherapy prescription does not currently require a statement of specific 22 fractions. It requires a statement of total dose. 23 So what you would have to change then is both the requirements for the 24 written directive as the recordable form.

1	DR. MARCUS: You aren't going to certainly what we're seeing is a very
2	specific
3	(Brief interruption.)
4	a very specific statement about how many fractions, exactly where the
5	fraction site is where it's to be given. That is how the clinicians are carrying that out.
6	Which is a little more specific than how they
7	(Brief interruption.)
8	DR. STITT: Carol, are you saying you actually write directives that way or
9	are you saying that you're doing that as a suggestion for a way to get around the
10	reporting requirement?
11	DR. MARCUS: When I prescribe a dose I use a range over which I will
12	accept the final because I recognize that the calculations that I do are so fraught with
13	enormous error that it makes very little difference within certain ranges. And so I put
14	down what the acceptable range may be.
15	I also have problems in my department where a patient is supposed to
16	come in, you know, Monday morning at eight o'clock and shows up Tuesday afternoon at
17	four o'clock, and the dose has been sitting there decaying somewhat.
18	And I am perfectly happy to use that dose, and rather than write a
19	separate directive actually I don't have to write anything but I just put down a range
20	so that I don't have to be bothered worrying about it, because all I'm going to do is write
21	down an order for what it is. So why even bother to do it a second time.
22	CHAIRMAN SIEGEL: Do you use capsules or liquid?
23	DR. MARCUS: No, I use liquid, it's cheaper than the capsules.
24	

1 CHAIRMAN SIEGEL: Well, I guess -- you run have to run out a 2 radiopharmacy? 3 DR. MARCUS: No, we don't get more liquid. We have the usual --CHAIRMAN SIEGEL: So actually what she's saying is a practical and 4 5 common practice in nuclear medicine. In a way it really is tied to when it is you want to 6 write the prescription, immediately before the administration, at which point you know 7 how much has already been shipped and it's in your hands, or whether you write it before 8 the order for the radioactive material is placed. 9 If you write it before the order for the radioactive material is placed then 10 you have to allow for dispensing error by the -- not dispensing error, but for the noise in 11 the dispensing provided by the radiopharmacy and then by potential delay in the 12 treatment. 13 And biologically what she's doing is absolutely guite sensible. It's less --14 it's more of a problem when you're talking about a 1,000 rad differences for --15 DR. MARCUS: Yeah, and it's just the difference between the -- it's the 16 same thing we talked about earlier. 17 (Brief interruption.) 18 Not the same sort of things. That makes sense to the radiopharmacy and 19 in therapeutic high dose rate therapy you can be very specific. These are computer 20 calculations and not isotopes. And at least my sense is that what John is talking about 21 are problems that we're having with remote afterloading high dose rate brachytherapy, 22 and if we need to be specific. And I think we do. 23 (Brief interruption.) 24

1	CHAIRMAN SIEGEL: So what I'm hearing is that the radiation and the
2	business of therapy, this is something the Committee will need, that some reporting is
3	appropriate.
4	DR. GLENN: That's the 20 percent
5	CHAIRMAN SIEGEL: The 20 percent of the prescribed fraction
6	DR. STITT: The prescribed fraction. But how can we communicate that?
7	Can we simply send a note, do we have to make other
8	DR. GLENN: I'll have to explore that, what mechanisms we can use.
9	Whether we can do something short of rule-making or in order to accomplish that.
10	Okay, the next general trend we have seen in terms of reported
11	brachytherapy in this administration and this is both high dose rate afterloading and
12	(Brief interruption.)
13	low dose rate and manual afterloading.
14	A SPOKESPERSON: The fire department is here, they're testing the fire
15	alarm system. There are some problems with the alarm system, there is not a fire,
16	however. I'm sorry.
17	DR. GLENN: The phenomenon we have seen is that we have a very large
18	number of these reported misadministrations that involve some misplacement of the
19	source. This can be for various reasons. It can be trouble with the mechanism that the
20	source doesn't go out a certain distance that it's supposed to and the wrong area is
21	treated for that reason.
22	It could be that the applicator itself is put into the wrong area of the body. I
23	think there was a I mentioned before, sometimes modesty causes something not to be
24	

1	checked, and we've had several misadministrations where that appears to have played a
2	role.
3	So we have equipment that
4	MS. BROWN: Modesty? Do you want to elaborate on that, I didn't catch
5	the nuance there. You mean where it's placed
6	DR. GLENN: Where it's placed. It was placed in the wrong part of the
7	body.
8	So we have equipment malfunctions that cause it to be in the wrong
9	place. We have implantation procedures where for some reason it's not placed properly.
10	And finally we have during the treatment itself that the source becomes dislodged. And
11	this can be due to physical factors or it can be patient intervention. And so we have a
12	spectrum of source placement issues that come before us.
13	The next slide I pose the first question, and that is, what is the standard of
14	care with respect to the proper placement and operation of other implanted devices in the
15	medical profession, and how often are devices checked to insure that they operate or
16	that where something was put is still in the right place.
17	DR. STITT: On high dose rate or low dose rate?
18	DR. GLENN: Maybe for both.
19	DR. STITT: They're different. I think they're clearly different, because I
20	think there are a lot of ways to check where you think you are on a high dose rate and if
21	you do start playing with a low dose rate those things can be anywhere. Anywhere from
22	the or the cesium bank. And the system of checking that is much more difficult to pin
23	down.
24	

DR. ALMOND: I'd have to agree that high dose rate afterload is, I think, different than the low dose rate manual afterloading situations. For the high dose rate equipment there is very detailed quality assurance checks that you go through fairly regularly to make sure that the sources do locate in the right position and that your equipment is working correctly. There you're relying upon a mechanical device to take the source out of the safe and put it at a specific point within a capital of the body, and there are obviously quality assurance methods for checking this.

8 And those are written down by various groups. We have those, I don't
9 think they're in the regulations, but the professional organizations have those.

10 The manual afterloading, again there are I think certainly in our institution, 11 we have procedure manuals which state very specifically what quality assurance you go 12 through to make sure that the source in fact is put into the applicator or the catheter or 13 whatever and that it is there.

Now, I think we have to distinguish between the fact of the sources is
grossly misplaced within the applicator, that is it doesn't seat correctly in the applicator or
falls out of the applicator or is halfway between the safe and the applicator, that's one
problem which I think you are addressing.

The fact that the applicator might wiggle about in the body is something
none of us can do anything about, and clinical experience takes that into account.

20 So I think you're looking here at the fact that the source is not located 21 within the applicator or catheter in the right position. And again, most procedures within 22 the problems have that quality assurance. At least to make sure that in most cases --23 occasionally it does slip through. I mean it slips out in the middle of the night, and you 24 know it's difficult to write any quality assurance manual that's going to catch that when it
 occurs.

3 It may be a couple of hours later that someone comes in and realizes it. 4 But other than having someone sitting by the patient all night long with a geiger counter or 5 some mechanism to make sure it's slipped out, I don't 6 know -- there are some things you just can't do. 7 CHAIRMAN SIEGEL: How often are source or 8 applicator positions checked in brachytherapy for certain --9 DR. STITT: Well, with low dose rate, the low dose rate gynecological 10 implant when you make rounds twice a day, there's certain ways you can tell if the thing 11 is in the patient and if it's in the right place. However, that doesn't tell you if the physicist 12 and the physician put sources in the correct place in the applicator. 13 I had one concentration I did this year where they did -- it was just human 14 error. So that would fit into that circumstance. In the high dose rate implants it's pretty 15 variable from one place to another, but we do visual checks, we do fluoroscopy checks, 16 we do a last check for placement of the applicator just before the source goes in. 17 It is easier to document the high dose rate remote afterloading if the 18 placement of the applicator and the source is correct. And in the misadministration 19 problems that I've been involved in were the result because of poor QA procedures. And 20 I think those are things that you can set up, yet there's some basic human error that --21 again, this totally amazes me that folks must sit home and kind of think about these 22 things, as to how they --23 (Brief interruption.) 24 My time is up.

1	DR. GLENN: Well, I guess one specific question that came up within the
2	NRC and that was whether we had an obligation to inform people that there should be
3	a visual check of the placement of a manually implanted source. And it seemed like to
4	us in the Staff that that's something that did not need to be said. That a visual check
5	would be required.
6	One aspect of this question, is that in fact the standard of care. I mean is
7	it expected that you would do a visual check?
8	DR. STITT: It's quite variable. It is at one place and it's not at another.
9	And it, you know, some institutions elaborate treatment planning is put on and in other
10	institutions you look at them on a chart. And how much can you regulate?
11	CHAIRMAN SIEGEL: Mel?
12	DR. GRIEM: Well, two of the situations, the source didn't make it into the
13	applicator and the patient sat on the source for a period of time. So I mean there are
14	problems with even the manual afterloading systems were in the right
15	(Brief interruption.)
16	and I think the whole problem I think the problems in brachytherapy
17	are going to grow, and partly because of, you know, down here, CPT's encourage some
18	of this as an economic issue. And that many more people are getting into brachytherapy
19	and we need to be more rigorous in all the things we can do in the training process.
20	DR. STITT: I have a comment to make in that regard. I think it is going to
21	grow, there's no question in my mind. And I think one of the reasons is this will be
22	this is strictly my opinion, but I've been a clinician for a long time now I am convinced
23	that the low dose rate there are a lot of things that I might have known that went on that
24	I sort of kept to myself, or one can keep to one's self.

1	When you get involved in the high dose rate system, because it's every
2	second is on a computer printout, I think there's a lot of verification that is done with high
3	dose systems as far as the treatment and the treatment planning.
4	A lot of this sort of clinical it will all come together at some point in time -
5	- now becomes very hard copy. And I think that that's probably what all of the offices are
6	seeing, that a
7	(Brief interruption.)
8	a lot of documentation that we now have that we never had the
9	opportunity to have before. And I think in general that's probably good, because again, as
10	I travel around the country, one of my favorite stories is a physicist who called me saying
11	my doctor's just got a high dose rate unit and it is plugged in, we're going to use it
12	tomorrow, they told me to call you to find out what we should give.
13	And that physicist left that place and said it was good advice. So we have
14	a lot more to be
15	(Brief interruption.)
16	know and are able to document, and I think that means more and more
17	and more reporting in this administration, and I think the offices are going to be
18	swamped.
19	CHAIRMAN SIEGEL: Does anybody have a pistol? I want to shoot that
20	DR. GLENN: Well, maybe we should flip to the next slide. We've had
21	some discussion on this I think already.
22	I posed a very specific question, do the physicist or the oncologists, either
23	group, have any existing standards that NRC could refer to for guidance in this area?
24	DR. STITT: Peter, do you want to talk? I keep talking, I mean

DR. ALMOND: No, after you.

	-
2	DR. STITT: Standards for I'll just stick to high dose rate, because I think
3	that's really going to be the issues that will keep becoming more and more of a problem
4	for all of us. There are standards for placement regarding the common gynecologic
5	applications, of cervical cancer, individual cancer, the post-operative vaginal radiation, in
6	the sense that there are a number of articles in the literature that are accepted and
7	describe placement.
8	Is that the sort of thing you're looking for?
9	DR. GLENN: Well, you're saying that there's literature but I guess that
10	there has not been a voluntary statement that's been adopted by any society.
11	DR. STITT: There is one document from the American Brachytherapy
12	Society that actually addresses all sides of the body including the joint applications,
13	relates to high dose rate. And I can get you that if you'd like it.
14	DR. ALMOND: The AAPM has just published the last issue of Medical
15	Physics, a comprehensive quality management program of radiation oncology. It's a
16	very long document, but it does have a section on brachytherapy.
17	I must admit I do know what they say about high dose rate afterloading,
18	but it certainly is at the level of the accuracy of positioning and that type of thing. And I
19	suspect that you will find that in there. That is a very good document, though, and I think
20	if you haven't got itit also relates to other areas of quality management.
21	DR. GLENN: Next slide. Sort of a bottom line question. Do you think the
22	existing standards are adequate. And I guess essentially we've been referred to read
23	them. I don't know whether the Committee's prepared to make any sort of judgment at
24	this point.

1	CHAIRMAN SIEGEL: I think it's whether this particular set of questions
2	might need the work of a subCommittee. Two or three people who might come in and
3	DR. GLENN: Then report to the Committee at the next
4	CHAIRMAN SIEGEL: Or Staff. At White Flint and sit down and talk
5	through some of these issues and then come back and report to the Committee and help
6	you all come up with a regulatory framework. And I mean to the extent that people like
7	Mel and Judy and Dan have been serving as medical consultants on these kinds of
8	events, they've got a lot of experience, as much as the Staff does, in trying to understand
9	the way things need to be.
10	I sense that there are some problems here that need to be addressed
11	either by practice standards, ideally, or by regulation if practice standards won't do the
12	job. But it's clear that this group at the moment doesn't have a collective expertise to say
13	do this.
14	And so I throw that out for a suggestion.
15	DR. STITT: I would strongly endorse that. I think that even the highest
16	rate brachytherapy is a small component of general medicine. I think it I get one of
17	my colleagues loves to call it high risk brachytherapy, and so she and I are kind of on the
18	national panels, but I agree with her. And I end up calling it that myself even though that's
19	a component of it. And if there's any calamity that should be in the making it's certainly
20	with high dose rate brachytherapy.
21	The case in Pennsylvania is an excellent case in point. I think a
22	subCommittee is an excellent idea. And I think that the existing standards and
23	procedures are not adequate. And I think that we do have the capacity to move to
24	something that is very specific. And to me this is the ideal circumstance for this group to

be addressing, because I think for public safety, patient safety, this is something we can
 have an affect on and I think we should.

DR. GRIEM: Given the greater biologic community in the world, who has 3 4 more data on large animals and high dose rate brachytherapy -- and in England it's very 5 high administrative stuff -- but I'm trying to think, who can I assign as either lung or 6 vessels or hearts or CNS where this has been tested and the data about so many 7 animals, and this in fact is for X number of animals in the population --8 DR. STITT: Yeah, I don't think there's much of that available. We can 9 look at actually the IRT, although it's not brachytherapy, it's the fraction size. And there's 10 a lot of known tissue from the people on the FCI. But most of the data that's available is 11 theoretic in its calculation and it would be by Fowler and Orton who approach it from 12 some different sides. 13 DR. GRIEM: Because for IRT there is new data from Germanic and 14 others -- I think you should get someone who's done a lot of IRT to bring that expertise 15 which relates to this whole question. 16 CHAIRMAN SIEGEL: We have a comment from the floor we shall be 17 happy to take, Dr. Rogers. Please introduce yourself for the --18 DR. ROGERS: Yes, I'm Jim Rogers, a clinical physicist, also 19 representing the American Association of Physicists in Medicine. I have just one 20 comment I want to make about the type of standards, recommendations on how practice 21 should be done, but in the case of low dose complications there is usually adequate time 22 to radiographically verify the placement of the applicator. And this is not common -- well, 23 I'd say uniform practice. And this might be an area where the NRC would make some 24 recommendations.

1	And I think that would alleviate or go a long way to alleviating this problem
2	of misplacing the applicator. High dose rate, there's a different issue there that I think is
3	sufficiently done and but the low dose rate, I see no reason why radiographic
4	verification be done.
5	DR. SWANSON: If I could ask a question a lot of these problems could
6	have been addressed through perhaps better patient education and nursing education.
7	I'm just curious how much emphasis has been in providing this.
8	DR. STITT: I think that here particularly we're talking about the low dose
9	rate types of incidents. And again, I've been a consultant on several of those and I've
10	read the other reports and I on clinical experience as a physician in brachytherapy is
11	that the nursing Staffs were very quality, they understand the nature of radiation safety,
12	they couldn't identify the source of this.
13	If they picked it up which they did in some of those reports and when we
14	discussed at our last meeting and the post proponents are going to train nurses and
15	RGTs hopefully they'll have more success that most hospitals will.
16	I agree with you completely in that education and training is an important
17	part of this. Many institutions don't do many low dose rate insertions, and trying to train
18	the Staff to a high level of confidence for an occasional insertion is certainly good for that.
19	CHAIRMAN SIEGEL: I would just note that following the discussion we
20	had last time on false dose rates that we did explore with that institution, actually
21	instituting the program. And they decided they could not in fact carry through with that
22	program.
23	It is very hard to train nurses to the level of performance that we were
24	expecting.

1	DR. STITT: Yeah, I had somebody come up to me recently and say gee,
2	after talking with you and reading this material we decided we were not going to get into
3	the false dose business.
4	DR. GRIEM: Just for clarification, John, currently in 35.410 you do have
5	some requirements for safety instruction that get into this issue of newly arising nursing
6	Staff and those in participation as to the safe handling and certain precautions to be
7	aware of when handling the sources.
8	This Committee of course has discussed a couple of times in previous
9	meetings and agreed to which 35.410 is clear or is enough of a need to convey
10	information. We have in fact put out an information notice not too long ago on it, within
11	the last year that does deal with this attempt to try to make more information available to
12	the nursing community about the process of handling frightened therapy patients.
13	But it nonetheless remains a concern.
14	CHAIRMAN SIEGEL: Let me reemphasize too that patient education I
15	think is critical here. Very critical. Not just nursing.
16	DR. GLENN: The suggestion is that we get a subCommittee to help us
17	answer this particular question. I will also mention that we've already made contacts with
18	some of the therapy societies new in brachytherapy to meet with them and discuss
19	some of these issues with them as well.
20	I don't know whether I think they cannot get on the program for ASTRO
21	this fall.
22	MR. CAMPER: It's still in the air, actually. We're trying to get on ASTRO
23	and we also it appears at this point will be conducting a two-hour workshop with the
24	American Brachytherapy Society meeting in Florida in December.

1 CHAIRMAN SIEGEL: The kinds of questions that you've got on the table 2 here sound to me almost as -- certainly they're as important from the public health and 3 safety -- as the kinds of things you have all those workshops for -- it seems to me that if 4 we appoint a subCommittee that would serve to direct one of those workshops with 5 invited guests from AAPM and ASTRO and ACRO and your own Staff to sit round the 6 table and really work some of these things through, you know, a one day or one and a 7 half day meeting, it may well be the way we want to try to get more public input on this 8 thing. 9 DR. STITT: Well, let me interject here. Low dose rate brachytherapy has 10 been going on since Madame Curie and her cohorts, and high dose rate is very, very 11 new, and I think it's hard to legislate some of the low dose rate business in rule-making. 12 But with high dose rate, now is the time -- and I think this group needs to 13 be at the forefront of that -- because this stuff is risky business. 14 CHAIRMAN SIEGEL: An accident with a patient, are those -- do those get 15 classified as a misadministration or --16 DR. GLENN: That's a case, again, we talked about it before. It's a case 17 by case decision. We look at such things as what would the area have received if the 18 dose had been delivered as intended. How guickly was it picked up, those kinds of things 19 are factors that we look at. 20 In terms of the -- whether it's a misadministration and what the corrective 21 actions are. 22 CHAIRMAN SIEGEL: So if the patient physically removes a source in the 23 middle of the night, is that a misadministration? It's way beyond the control of a 24 licensee, isn't it?

1	DR. GLENN: But we are also asking the question, should there be some
2	standard of checking so that does not go on too long, and how long is too long, if the
3	source is lying in the bed with the patient.
4	CHAIRMAN SIEGEL: In the high dose rate setting, if the normal source
5	travel time is that it completes it's course in ten seconds to get from outside the patient to
6	inside the patient, and for one reason it takes 20 seconds, is that a wrong site treatment?
7	Because part of the body
8	DR. GLENN: That's exactly the sort of issue we do on a case by case
9	type system.
10	CHAIRMAN SIEGEL: I mean I think the real there are some real
11	important issues that need to be dealt with about device malfunctions and the way these
12	procedures are conducted. But by the same token I'm concerned that there are some of
13	these wrong site interpretations that get into the whole misadministration reporting
14	scheme that get a little bit silly.
15	DR. GLENN: Well, I think in terms of you said two aspects to what
16	we're doing with misadministration. In terms of our knowing about those incidents, I think
17	we would like to know about all of them.
18	CHAIRMAN SIEGEL: I agree.
19	DR. GLENN: Now, the question is, is there fault and corrective action
20	required on the part of the licensee. That may be a different issue.
21	CHAIRMAN SIEGEL: And as an example, notifying the patient of a
22	misadministration when the wrong site gets one percent of the dose that it would have
23	gotten during the
24	

1	course of the treatment anyway, because the source was well somewhere outside the
2	body for four or five minutes seems like it's a little silly. It's a lot of extra paperwork.
3	On the other hand, letting the NRC know that that occurred because of an
4	equipment malfunction seems very prudent.
5	So it's there's a loss of balance, I think, here in the misadministration
6	rule.
7	MR. CAMPER: I would sort of add to what Dr. Glenn pointed out, that is in
8	those cases where it's been clear that it was sheerly patient intervention, and there was
9	an appropriate response by the licensee, I think in almost every case that involves
10	general counsel that the statute has gone on the recommendation that it not be a
11	misadministration. OGC agreed.
12	However, as Dr. Glenn pointed out, we have had a case not too long ago,
13	in fact, where indeed there was patient intervention but there was a prolonged period of
14	time, I would say on the order of for an hour, I believe, in that time frame, where the
15	licensee did not check on the patient and there was exposure to the patient's leg, I
16	believe.
17	The other point I would make is that thus far, at least, we get into the
18	wrong site, it has been things that are fairly gross, if you will, in the sense that source fell
19	out, lay next to a patient's leg or in fact a wrong treatment site was truly mistreated in the
20	sense that it was to have been the left side of the brain and the right side was and then
21	there's the case where we have found ourselves having to come to grips with these
22	minimal movement of brachytherapy sources.
23	We have really tried to characterize those as not being
24	misadministrations, because it's a real tough thing to report.

1	DR. STITT: Anybody that's got enough money can buy one of these little
2	boxes, that's the source of it.
3	And they are all over the country. It makes me wish I had some stock in it. And I can see
4	the American Academy of Sciences working in here
5	CHAIRMAN SIEGEL: I wanted to say that
6	(Laughter.)
7	DR. STITT: I can see the American Academy of Sciences saying that
8	gee, what you folks really need is a whole regulatory system that does nothing but look at
9	high dose rate brachytherapy units, and they sound like the sky is falling kind of a person,
10	but they're extremely dangerous and anybody can buy one, and it's just very frightening to
11	me as a clinician who takes care of patients day in and day out.
12	And I think that I guess I've said this probably three times and this is the
13	fourth version, but this is going to be more of a problem because there are more of these
14	being distributed. And I think we have to have some way of putting controls on some of
15	the mindless and senseless use that I have seen with some of these units.
16	DR. GLENN: Okay, if we could move on to the next slide then, and this
17	gets into a slightly different issue and one that I don't think is quite as much of a crisis,
18	but it has to do with the direction that we take in terms of regulating brachytherapy,
19	especially high dose rate remote afterloading brachytherapy.
20	Just to remind everyone, that in the area of teletherapy we actually do
21	have a series of quality assurance checks that have to be made. And the next slide
22	shows what some of those are.
23	
24	

1 We require that dosimetry equipment meet certain standards. We have 2 requirements for full calibration measurements, we say what those full calibration 3 measurements have to entail, how often they're done, those sorts of things. 4 We then say that on a -- that's on an annual basis. We then require that 5 on a monthly basis there are periodic spot checks where you check certain parameters 6 of the treatment but not the full spectrum that you do during the full calibration 7 measurement. 8 Then we have safety checks that are done on maybe a daily basis or 9 some sort of periodic basis. Then we have radiation surveys that are made around the 10 equipment to make sure that the source is actually where it is, that the shutters are 11 closing, so forth and so on. 12 One of the commitments we have to the Commissioners themselves is 13 that we come back to them next year and make recommendations about whether further 14 rule-making is needed in the area of quality management and quality assurance. And it 15 seems like this is perhaps an area where our regulations are currently deficient. That we 16 do not have the same level of assurance built into our regulations for brachytherapy that 17 we do for teletherapy. 18 And so the first question is, do any professional medical organizations 19 have existing standards on calibration of brachytherapy sources. 20 DR. ALMOND: Yes, and if they're not specific at the present time they're 21 being looked to. Again, I would check with the AAPM and see what they have working and 22 what's in their comprehensive quality management. 23 24

I understand with the high dose rate brachytherapy you're now looking at
 changing sources several times a year so that it will be in essence different from the
 cobalt which you have a different time period.

4 So calibration must be done every time the source is changed. And 5 certainly those procedures are well established. Protection surveys must obviously be 6 done every time the source is changed, et cetera, so there will be some differences 7 certainly because the half-lives are significantly different.

B DR. STITT: There are regs that are being developed, and as Peter says,
we can get ahold of those. Or not regs, I'm sorry, but there are institutional statements
that are being adopted by some of the national groups.

I really feel strongly that the sorts of things we've been doing for
teletherapy should be done for high dose rate brachytherapy, because it can be done.
Some of the misadministrations or at least the report of events that I reviewed recently
had to do with things like changing daylight savings time. It can make a big difference. A
source change that was going to be calibrated the next day and then it was used in an
emergency in the middle of the night.

One of the things that it will do in trying to make this more safe is that there are some institutions who shouldn't be in the business but because, you know, Mr. So and So who died wanted to leave some money for that unit, therefore they bought one, they're going to have to have the physics Staff and the dosimetry Staff and the physician Staff to go along with that.

And that's the problem. You can buy the unit, but that has nothing to do with the high level of expertise that also is required to go with it. And hopefully it will maybe contain some of these units that are flourishing now.

1	DR. GRIEM: It seems to me that the NRC has to work closely with the
2	FDA to make sure that computer entry systems and methods of using the computer are
3	properly checked and so forth. And I think I'm being unctuous here, that the physicists
4	have to take a hard look at the computer and that it's not misbehaving.
5	I'd leave that to the physicists to really set the standards for where the
6	FDA units, set the standards of how often you should check the computer, and I think
7	that could be daylight savings time, how the date is entered, whether you use the
8	European or the American system, and it goes on and on and on.
9	DR. GLENN: I will mention, we have been meeting with the FDA on some
10	of these computer errors that have resulted in misadministrations. One clear
11	demarcation is though that the FDA regulates design and manufacture. They don't
12	regulate the actual use in the institution. And that's where we may have a role to play.
13	Okay, the next question is for information, who within the medical
14	institution determines the appropriate schedule for preventive maintenance for devices.
15	Then the follow-up question is, who normally performs that preventive maintenance. If
16	someone other than the manufacturer, what type of training should be provided.
17	CHAIRMAN SIEGEL: So again, this is very much akin to your teletherapy
18	type question
19	DR. GLENN: Right.
20	CHAIRMAN SIEGEL: so that where you only allow teletherapy
21	services to be done by certified individuals.
22	DR. GLENN: Right.
23	
24	

1 CHAIRMAN SIEGEL: Again, I think you're pointing in the direction of 2 looking for a subCommittee. And maybe even a model regulation that the subCommittee 3 could start to dig into rather than just focusing on ultimate questions. 4 I thought, you know, it was very effective the way the pharmacy rule -- to 5 have at least NRC's first prod at what happened and then let the players sort of dig into it 6 and see how it works in reality. 7 And as long as it's recommended regulations, there's a starting place as 8 you all know. But this seems to be at a place where it may work very effectively. 9 This is probably done -- and each institution has developed its own 10 scheme for dealing with it as institutions that have a lot of experience and have thought 11 very carefully about their quality assurance program generically probably are doing it 12 terrifically. And institutions that are just getting into the game and are getting in with less 13 experience are probably not doing it as well. 14 DR. GLENN: I'll mention that our licensing policy is that -- our default 15 position is that the manufacturer does all of the servicing. But we do face the problem --16 people come in and say we want to do our own servicing and then establishing the 17 criteria for them to do that is an issue. 18 DR. ALMOND: The source exchange has to be done by the 19 manufacturer. This is something that the hospitals properly are not licensed to do, but 20 certainly are gualified to do. And during that source exchange at least minimal 21 maintenance must be done. 22 I mean -- so I think there's a mechanism here where the manufacturer or 23 the supplier of the source has to come on site several times a year. Which is different 24 again from cobalt, again, when you know you have the regulation that every five years of

comprehensive review of a machine is done, and that's generally when the source is
 changed, and it must be done by a licensed source handler.

You've got a somewhat similar situation here, but done with a much more
frequent basis, than cobalt. And let me just say, I think the cobalt regulations have been
very good because they have spelled out very clearly what you want the physicist -- and
the institutions know what is required. And I find that most people follow those quite well.
And they've certainly I think been very helpful.

A similar set of regulations, I think, will be extremely helpful, and I don't
think anybody will think that this is interfering. I mean it will give them very specific

10 guidelines. So I think along the lines of the cobalt regulations will be very good.

DR. GLENN: The last slide, and to some degree Peter has already addressed this, what type of test checks are performed at source exchange, and we may find that that is the appropriate set of checks.

14 CHAIRMAN SIEGEL: All right, do we have any generic comments or

15 specific comments about this issue?

16 I think the primary message we left you with is that we agree with you that 17 there's a problem, and there probably is going to be ultimately a regulatory solution. We 18 may have short-term need to do something else about the reporting by different methods, 19 a workshop -- have this Committee help you deal with regulatory structure, language, et

20 cetera.

21 DR. MARCUS: May I say something?

22 CHAIRMAN SIEGEL: Yes, dear.

DR. MARCUS: What proportion do you sort of think of physicians who are
 not board certified --

1	DR. STITT: What do I think of it?
2	(Laughter.)
3	DR. MARCUS: What percentage of physicians doing this are 50
4	percent are, or 20 percent are; I have no idea what the numbers are.
5	DR. GLENN: My guess is it's 99 percent. They have to actually if you're
6	not board certified you actually will have to come in with an exception, and we've we
7	don't see those.
8	DR. GRIEM: I see a turf battle with the neurosurgeon with lots of money
9	who suddenly wants one of these and is convinced that he has enough training in six
10	months or I see a turf battle if the economics are
11	DR. GRIEM: Well, neurosurgeons are not used to dealing with this level
12	of regulation. They don't enjoy this kind of practice.
13	CHAIRMAN SIEGEL: All right, let's take a break for lunch. It is now 12:13
14	why don't we resume at 1:10.
15	(Whereupon, at 12:13 p.m., the meeting was recessed for lunch, to
16	reconvene at 1:10 p.m., this same day.)
17	
18	
19	
20	
21	
22	
23	
24	

1	AFTERNOON SESSION
2	CHAIRMAN SIEGEL: Okay, we are back on the record. Are you ready?
3	DR. GLENN: Ready.
4	CHAIRMAN SIEGEL: We are talking about two things now, inadvertent
5	misadministration to the wrong patient and patient notification issues.
6	DR. CAMPER: Right. Actually for both of these issues, you might recall
7	that we discussed these with the Committee before, I think as recently as last fall. And
8	what we want to do then is tell you what has happened since that time. And I think share
9	with you some fairly important information about where we seem to be headed.
10	So we're going to be talking about the inadvertent administrations of
11	diagnostic radiopharmaceuticals. And what we really mean, of course, by inadvertent to
12	be more focused and narrow is those cases in which a patient receives a dose from a
13	procedure, nuclear medicine procedure or therapy procedure or diagnostic procedure
14	particularly, where none was intended. None was intended.
15	Now, this brings to mind then the applicability of the provisions of 10 CFR
16	20.1301, to the administration of a radiopharmaceutical to the wrong patient.
17	Now, the point there of course is the 20.1301. It
18	
19	carries with it the 100 millirem limitation to a member of the public. And then the wrong
20	patient, as I said a moment ago, this is someone that receives some radiation that they
21	were not intended to receive from byproduct material or radiation therefrom.
22	You might recall when we discussed this last fall we pointed out to you
23	there was an enforcement case at that time the Staff was reviewing, and this involved a
24	patient that had undergone an unintended diagnostic nuclear medicine procedure.

1	Due to a misorder from a medical student under the supervision of the
2	patient's referring physician, this error occurred. In other words, the wrong patient, this
3	order was filled out for in fact the wrong patient contrary to what the referring physician
4	wanted to have happen.
5	The resulting dose of 800 millirem or eight millisieverts was higher than
6	that which is allowed a member of the public under the 20.1301 criteria for 100 millirem,
7	as I said, but below the whole body threshold criteria of 5 REM or 50 millisieverts in 10
8	CFR part 35. That's the misadministration, whole body threshold.
9	This type of event though, the Staff was aware, it wasn't really that
10	unusual in a sense that in 1989 and 1990 we went back, took a look at the diagnostic
11	misadministration reporting data that we had. You might recall that there was about 400
12	or so diagnostic misadministrations per year for the preceding ten years.
13	We found about 200 reports involved administration of a diagnostic
14	radiopharmaceutical where none was intended. Well, as a result of this there was
15	actually what happened was a technical assistance request came in to the regional office
16	and raised this question of whether or not this was in violation of the 20.1301 criteria.
17	And so we resolved that the Office of Enforcement had the lead and we worked with
18	them preparing a commission paper to explore this question from a policy standpoint.
19	In the commission paper we proposed certain Staff options. First, that
20	part 20 is the controlling regulatory part, because the patient is considered a member of
21	the general public who was not intended for any nuclear medicine procedure.
22	That particular option had two sub-options associated with it that dealt
23	with if indeed this is to be the case there are certain severity level issues associated with
24	it, what severity level would be assigned.

- And of course that would bring this 100 millirem total effective dose equivalent to this patient issue.
- 3 The second option that the Staff proposed in the commission paper was 4 that part 35 is controlling because exposure occurred as the result of an error in 5 administering to any patient a radiopharmaceutical and while the slide says which is 6 addressed in the misadministration regulation, what we really said in an option was that 7 part 35 when it comes to patient issues is the exclusive province. 8 This comes as an exclusive province of part 35 and would not be subject 9 to part 20 considerations even if the patient was an unintended patient. 10 The Staff felt that this was consistent with the quality management rule 11 focus which you might recall elevated the thresholds for diagnostic reporting of 12 misadministrations and put the emphasis upon therapeutic events. 13 And the third option was that we would issue -- the issue was of such a 14 nature that it requires clarification through rule-making and that the Staff should exercise 15 enforcement discretion during interim period until that rule-making was completed. 16 We also talked about in this clarification issue that we would need to point 17 some emphasis upon either option one or two as we went about the rule-making 18 process. 19 Well, the commission has reviewed the Staff commission paper and has 20 provided us with a Staff requirements memorandum, dated 10 May, 1994. 21 In this SRM the Staff approved the following actions: That no violation 22 would be indicated for part 20 in this particular case. The Staff in the commission paper 23 included in the copy of the Staff-prepared notice of violation for this inspection, there were 24

some other violations as well, but in the draft notice of violation the Staff did not include a
 violation under part 20 for this issue.

3	And the Commission agreed with that, that the notice of violation could be
4	issued as developed by the Staff and that there would be no citation in part 20.
5	That the Staff should in fact proceed with rule-making to clarify that the
6	medical administration of radioactivity or radioactive materials to a patient which includes
7	a wrong patient is the exclusive province of part 35.
8	So, if you will, what the commission directed us to do was really a sort of
9	hybrid of our options two and three.
10	We would of course exercise enforcement discretion until rule-making is
11	complete. And that we would follow part 35 whenever unintended dose is exceeded,
12	from this administration threshold, of course.
13	And there's no need to notify the patient in the case at hand.
14	With regards to Staff memorandum, it also goes on to state that we
15	should seek public comment on notification following errors in administrations where no
16	administration was intended and the threshold for misadministration was not exceeded.
17	It asks the Staff to explore the question of whether or not there are
18	practical ways to apply 10 CFR Part 20 to such inadvertent administrations without
19	defeating the policies behind the definition of misadministration, and for that matter the
20	intent of the quality management rule and the exercise we went through developing those
21	thresholds.
22	The practical ways to apply 10 CFR Part 20, such inadvertent
23	administrations without defeating the policies behind the definition of misadministrations.
24	

1 You might recall when the quality management rule was acted upon by 2 the commission, they decided that the diagnostic use of radiopharmaceuticals is in most 3 cases an area of relatively minor radiation risk to patients. And that institutions should 4 devote their resources toward more serious errors, that being therapeutic, of course. 5 So this is an interesting question that we have to explore, in the draft rule-6 making, and we would certainly in a few minutes welcome some thoughts from the 7 Committee on it. 8 They also asked the Staff to take a look at whether or not notification in

such cases when unintended patient is to receive exposures would impose record keeping and procedural requirements upon licensees beyond those explicitly set forth
 currently in 10 CFR Part 35.

12 Remember, bear it in mind if you will, that if you have a second category 13 of wrong patients, if you will, at the 100 millirem level -- let's call it the pink patients or 14 blue patients for sake of simplicity -- well, what happened in terms of implications 15 administratively, record-keeping and the like, if that in fact did exist -- obviously we want 16 to seek some recommendations from physicians identified in the SRM and we need to 17 find out from the Committee what it's recommendations are for definition of a patient 18 and/or a wrong patient, particularly as they apply to those individuals that are not 19 scheduled to receive byproduct material.

This is an interesting issue to discuss with you, because it would seem that either defining the patient -- or for that matter defining wrong patient -- one way or the other would seem to do. You wouldn't seem to have to do both.

Now, we can debate the pros and cons and we'd welcome your input on
which is the better way to go. We can define the patient -- of course any time you try to

1 define a well-established word in the English language that's well-known and used and 2 you try to define it for regulatory purposes you run into some problems. 3 On the other hand, it may be that a more simple approach would be to 4 make it clear what we really mean by wrong patient. So we would -- we need some 5 thoughts on those. 6 In looking at some of the background information that was associated with 7 the commission paper and looking through some of the OGC positions on the matter 8 over the last few years I did find an interesting comment that there's been a long-standing 9 policy that all patients are members of the public, and this is associated with the 10 statements of consideration from 1979 and the policy statement. 11 So it's an interesting issue we have to get through. 12 With regards to the wrong patient question I'd like to give you some 13 thought. Today, look in the definition in 35.2 under the "wrong" category of 14 misadministrations, you'll find "wrong patient," "wrong radiopharmaceutical," "wrong 15 administration," "wrong mode of treatment," "wrong treatment site," "wrong radio 16 isotope," and I guess the guestion that I would ask the Committee, is there anything that's 17 not covered by the wrongs that would then make it clear that the wrong patient has to be 18 the inadvertent patient. 19 And if that is the case, is it simpler to define wrong patient as such. 20 So, with that brief overview I'd like to welcome your comments and 21 thoughts. And I think what I would do is to try to just kind of make sure we go through 22 these questions that the commission asked us about, and that first one is are there 23 practical ways to apply 10 CFR Part 20 to such inadvertent administrations without 24

1 defeating the policies behind the definition of misadministration or the quality

2 management considerations in part 35.

3 Dr. Marcus? 4 DR. MARCUS: If you look at that old part 20 you have a definition, 5 because we went through this the last time. The words -- it made it very clear that part 6 20 was not to apply in a medical situation. In the new part 20 when the wording was 7 streamlined, that mention dropped out. When I talked to people who have been 8 involved in the streamlining of the language, they said it was their conviction that they 9 didn't mean to change the area of part 20, that patients always were in part 35 and that 10 the change in the opening language of part 20 really should not have resulted in a change 11 of who it was implied to be. 12 And I think if you go back and look at the original language in the last part 13 20, not the new one, and incorporate that into the new part 20, you'll get out of this whole 14 problem, because it was discussed completely when the quality management rule was 15 discussed.

16 There is no sin in that 100 millirems. That limit has nothing to do with the 17 dangerous level of radiation. It has to do with predictable levels of radiation imparted to 18 members of the public by activities of users of radioactive materials.

And what the NRC seems to be doing is trying to impart danger, hazard and sin to that 100 millirem number, when in fact it has to do with a sensible goal for working level limits of ultimate exposure. A totally separate concept whatsoever.

And I think we should continue to try to separate part 20 from patients in as much as possible.

1	MR. CAMPER: I think what that translates into, that as the Staff is working
2	on this particular rule-making, what we should do is read this is a scope part of part 20.
3	DR. MARCUS: Yeah, it was the scope part.
4	MR. CAMPER: Old and new, and determine if it poses rule-making or
5	does it need to adjust certain language within the scope of part 20 to aid in facilitating this
6	objective that we're trying to achieve.
7	DR. MARCUS: Yeah, the whole discussion is very interesting. For
8	example ICRP in a recent publication specifically exempts members of a household who
9	take care of a patient who has radioactivity in them as being members of the general
10	public.
11	One of the things that the NRC keeps discussing, what with the ICRP
12	and I think maybe you can address this the whole issue as to who the general public is
13	and then we have specific workers, patients, people who have a stake in what happens
14	to the patients.
15	There are other publics here that are different from the general public that
16	might serve in formulating policy.
17	MR. CAMPER: I wonder if I could pose the question in maybe some
18	clear-cut categories, I won't say that they're exclusive.
19	But what we're looking at is within the hospital situation if someone is
20	administered byproduct material, when is that person a member of the public, it's up to
21	part 20, and when are they subject to the misadministration rule. Let me give three
22	examples of people who may be in a hospital who are not occupational workers. You
23	have a visitor who's come in to visit a relative. You have a patient who has come in for a
24	

1	nuclear medicine procedure. And you can have a patient who came in to have their eyes
2	checked.
3	I think we all agree if the visitor got an administration, he was a member of
4	the public, part 20 would apply.
5	If it was a person who came in for a nuclear medicine procedure, clearly
6	part 35 applies under this administration.
7	But it's that case of a person who came in for a different procedure
8	completely unrelated to anything involving radiation that this policy is trying to address.
9	And that's really the patient we're talking about.
10	MR. QUILLIN: How often does that occur?
11	MR. CAMPER: About a hundred times a year.
12	MR. QUILLIN: That particular situation of a person
13	MR. CAMPER: Well, I won't say that the eye type of thing, but say
14	someone in for diagnostic X-ray gets a nuclear medicine that occurs fairly frequently.
15	CHAIRMAN SIEGEL: A fairly common problem, and I'll give you a perfect
16	example, it may get caught and it may not get caught, that the order be written for one
17	patient and being transcribed by a word clerk who then enters it into the computer
18	system which sends a requisition to the nuclear medicine a very common problem is
19	the order is written for a right upper quadrant ultrasound and turns into RVG, which is a
20	right ventriculogram. Then a patient who was supposed to get an ultrasound ends up
21	having a cardiac study so unless you've got a mechanism in the department to check
22	and see if you've got the right patient, that's sort of thing happens fairly often.
23	The other kind of thing that happens is where an outpatient, a doctor's
24	secretary is told by the doctor, order the following study of the patient the doctor's

secretary misunderstands the precise nature of the study and instead of calling CT calls
 nuclear medicine and orders a study that's got a similar description but isn't really the
 one that was intended.

The problem that I have with that, first of all that is a patient, it's just a
patient who went for the wrong study, and so it's the wrong patient.

The potential problems with escalating that to the level of member of the
public, escalating it to a level of record-keeping and notification, even -- or escalating it to
a level of reportable event, is a question of resource application.

9 Nearly all the time these events will cause no harm to anyone. They may
10 inconvenience the individual, but they don't cause harm as a result of radiation in either a
11 stochastic sense or a deterministic sense.

12 And we will do exactly -- we will unravel the whole force behind the quality 13 management rule if we impose a new set of requirements here. I think as I pointed out at 14 the last meeting, the reaction as I understand it in this particular hospital where this event 15 occurred, while we were waiting for a final ruling from the NRC, was that they put out a 16 list that said no patient would have an examination of any sort performed until they 17 absolutely unequivocally signed a document prepared by the referring physician that was 18 in the hands of the authorized user, for the authorized user to approve the study to 19 commence.

And if the referring physician couldn't be found on the day that the patient was supposed to have the study which might be two weeks later, the patient was just sent home, because they couldn't validate it.

23

1	Now, that is much ado about nothing. It's inconveniencing patients, it's
2	disrupting medical practices. For radiation exposures they're not really fretting about.
3	And with a denominator that is very, very large.
4	What fraction of the total number of nuclear medicine procedures do you
5	all predict or NRC regulates, what, there are 13 million, 16 million
6	MR. CAMPER: We have roughly a third of those.
7	CHAIRMAN SIEGEL: We're getting a hundred out of five million and
8	they're all resulting in doses that are in the range of a few hundred millirems effective
9	dose. And we still allow people to live in Denver. As long as we do that we shouldn't be
10	getting excited about this.
11	This will unravel where you want the attention to be. Do I think it's
12	appropriate to make these errors, do I want to make these errors? Never.
13	Before we go on with the question let me just tell you something.
14	In my original quality management program I included these events. All
15	the things that were not captioned under diagnostic administrations, we created a
16	category called radiopharmaceutical incidents that included things like the wrong patient
17	or doses that would go over the threshold, wrong radiopharmaceutical we investigated
18	them, we treated them as if they were reportable events in our internal quality
19	management program.
20	We have just six weeks ago created a new quality management program
21	in which we have deleted that component of our quality management program, because
22	we don't want to make it a red flag for NRC inspectors, even though I can tell you that I'm
23	personally going to continue to evaluate all of those events from a hospital quality
24	assurance point of view the same way I would if the NRC didn't exist.

I just think that you're just marching down the wrong path on this one. I'm
not saying you're marching down any path. But if you go down the path of raising a level
of consciousness on these to require reporting, notification, undue record-keeping and
certainly if you treat it as members of the general public you're unraveling the quality
management rule and in an area of cost confinement in medicine, it will be just not a very
sensible thing to do.

7 MR. CAMPER: So your comments and your reaction is a resounding yes
8 to the second question up there.

9

CHAIRMAN SIEGEL: Yes.

10 MR. CAMPER: And the first portion, thus far we have Dr. Marcus' 11 comment about perhaps the scope of part 20 should be modified to make it clear in 12 regards to medical exposure. I don't recall exactly what the -- I do recall the differences 13 in the previous, the pre-part 20 scope and existing, but don't recall exactly what the 14 words are.

15 CHAIRMAN SIEGEL: The finding in the intentional administration of 16 radiation or radioactive material or the radiation therefrom to a human being or believing 17 that a human being is a patient and believing that patient to be the correct patient, even 18 though they may later turn out to be the wrong patient, should be considered medical 19 practice and not considered inadvertent exposure to a member of the general public. 20 And changing the language of part 20 back to the -- something like the old 21 wording which probably was not as inclusive as I think you're interpreting it to be, Carol, 22 but making it more inclusive would solve the problem. 23

23 MR. TELFORD: John Telford, NRC, Regulation Development and
 24 Rulemaking Section.

1	I've heard Dr. Marcus say that old part 20 showed I'm interpreting here -
2	- says in essence anything that was medical use as defined in part 35 should be the
3	province of part 35 and should not be in part 20.
4	Let's assume you do that. And there's a couple of definitions there in part
5	20 that need to be corrected as well. Then I think the question that I want to ask you is,
6	how would you define patient, because I think you just did define patient for us in your last
7	two-minute talk here.
8	In other words, could you put the slide back up to what the rule-making is
9	really about? Because the rule-making is to make clear that we would like to keep these
10	apart on this kind of inadvertent administration or exposure the first step is what Dr.
11	Marcus has suggested, is that make sure part 20 does not apply to patients or anything
12	called a medical user.
13	But if we add to part 35 the definition of a patient in order to make clear
14	what a patient is, how would you define that patient? I don't want to put words in your
15	mouth, but I thought I heard you perhaps the people in the Committee, as to how they
16	would like to define patients.
17	Do you follow me?
18	CHAIRMAN SIEGEL: Well, I do. I didn't really define patient, but what I
19	defined was a medical act of administering byproduct material or the radiation therefrom
20	to a human being based on the presumption that that human being was getting the right
21	thing done to them, and therefore for medical reasons that made that human being not a
22	member of the public, but that's an operational way of defining a patient without saying
23	what a patient is.
24	

1	I mean in a way, John, your example of a visitor I mean a visitor who
2	responds to a request, walks into an injection room and says sure, go ahead an inject
3	me I mean that person should be a patient.
4	(Laughter.)
5	I mean how can you protect yourself against people who walk into a
6	hospital and their interesting problem is the problem of Munchausen's syndrome. Or we
7	might have people trying to get radioactive material intentionally to I don't think that this
8	is a clouded area, but I think the intentional act of performing a medical procedure on
9	someone whom you believe to be a patient defines that individual as a patient.
10	It may turn out to be the wrong patient, but it is at least a patient. Judy, do
11	you agree with that?
12	MS. BROWN: I guess so. I have a lot of questions.
13	CHAIRMAN SIEGEL: Please.
14	MS. BROWN: Are you saying that the hundred per year now, these are all
15	Munchausen's?
16	CHAIRMAN SIEGEL: No, I'm saying that most of them are the kind that I
17	just described to you. There are requisition errors, errors that get generated at some
18	stage of the process, and in medical practices which is the standard throughout most of
19	the United States where a requisition showing of a patient showing up is all it takes to
20	get a nuclear medicine procedure started.
21	MS. BROWN: Right. Now, my first question is, what kind of record-
22	keeping did those hundred cases have to present to NRC in order for you to capture
23	them? Was it a lot of work, a little work?
24	

	110
1	CHAIRMAN SIEGEL: They were previously captured under the old
2	misadministration reporting requirements.
3	MR. CAMPER: That's correct.
4	CHAIRMAN SIEGEL: They are no longer being captured. That was there
5	up until the time the rule was changed in '92. And one of the reasons that it was okay, at
6	least from my perspective, to change the rule is that we had ten years' worth of data that
7	told us what the problem was, gave us a feel for what kind of doses we were talking
8	about and
9	MS. BROWN: And nobody's concerned that this is going to balloon at
10	some point because of reasons like you keeping your internal records. This is just kind
11	of static in the
12	CHAIRMAN SIEGEL: I have no reason to believe otherwise.
13	MS. BROWN: And what's the standard practice if is the patient told,
14	even though they're not required by NRC generally, I mean outside of does anybody
15	know?
16	CHAIRMAN SIEGEL: I don't know, but I would assume patients are told
17	about this sort of thing. It's pretty hard to explain to
18	MS. BROWN: It would be a sticking point for me, because I can't imagine
19	having that happen and not having someone required to tell the patient, but the way you
20	document that is
21	CHAIRMAN SIEGEL: I guarantee that if you are a patient, an inpatient in a
22	hospital bed and a nurse walked by and gave you a dose of digoxin when you were
23	supposed to get a dose of diltiazem you would not be
24	

1	MS. BROWN: But, you know, this is why I like nuclear medicine.
2	Because you are this is why this is the standard of care I've long aspired to.
3	CHAIRMAN SIEGEL: The only problem is I can't cure your heart failure if
4	you really got the drugs.
5	MS. BROWN: But you know, I've told you all, there's a standard for other
6	people to come up to. So that doesn't cut any ice with me.
7	MR. CAMPER: But one of the points the Staff made in the commission
8	paper in fact gets at this point, and that was we stated that this idea there are those
9	who look at the patient who receives unintended exposure and they would say, wait a
10	minute, these people have no idea of the risk, they have no idea of the consequences of
11	what's going to go on, they simply have no awareness.
12	And the Staff certainly from diagnostic procedures we don't believe
13	there's a compelling volume of evidence to show that patients who are scheduled to get
14	a nuclear medicine diagnostic procedure have those kinds of consequences and risks
15	and the outcome of the examination explained to them either.
16	It doesn't happen as a matter of routine diagnostic nuclear medicine, we
17	don't believe.
18	So therefore the difference between those patients who are in fact
19	supposed to receive and are scheduled to receive and those who in an unintended
20	fashion receive, there really isn't a lot of difference in terms of their awareness.
21	And that's not to say that there aren't some cases where the diagnostic
22	nuclear medicine procedure scheduled to be done for a patient is explained, some
23	people have more interest in radiation than do others.
24	But as a general operating premise they do not.

1	MS. BROWN: But I think the fact that you've entrusted yourself into a
2	doctor who is of the opinion that you need this diagnostic procedure, and if they do, you
3	know, insurance company's money, you know that's okay. I mean I don't need full
4	disclosure for everything.
5	But if it turns out that nobody ever ordered this for me, there was no
6	intermediary, I just got the wrong somebody else's prescription, then I want to know
7	about it.
8	MR. CAMPER: Well, that would be an argument in favor of the 100
9	millirem limitation in 20.1301 or more primarily toward the patient being notified, which is
10	another requirement
11	MS. BROWN: I'm only concerned about the patient.
12	MR. CAMPER: There is a requirement in part 20 that the patient
13	notification occurs if in fact the figure for the 20.1301 is exceeded.
14	MS. BROWN: Right, but I don't know how to get to the patient being
15	notified as a requirement without having all the extraneous other reporting that has to
16	accompany it. So I don't know how you do that.
17	MR. CAMPER: Or rule directing in this case
18	MS. BROWN: Yeah, and if it is more of a standard of care that somebody
19	who the rule says we goofed.
20	MR. CAMPER: Or more directly in this case is the 100 millirem threshold
21	versus the 5,000 millirem threshold for misadministration. And the trigger of the
22	threshold is going to cause
23	MS. BROWN: For me it's very true. If I'm going to involve a patient for
24	anything in that office

1	DR. GLENN: Well, clarify for Judy that if in fact it is a 5,000 millirem
2	occurrence part 35 of the regulations would require notification.
3	MR. CAMPER: That's what I'm saying. The difference here now is it's a
4	question of whether it's 100 millirem threshold versus the 5,000 millirem
5	MS. BROWN: I know it would be the lowest.
6	CHAIRMAN SIEGEL: Daniel?
7	DR. BERMAN: I agree that you can lose track of various common
8	denominators, and the gravity of the events needs to be taken into account, 100 out of
9	five million. And it was something that no measurable amount the amount of extra
10	costs, of extra time time and effort and cost this is going to take out of our ever
11	increasingly cost-conscious society shouldn't be lost.
12	If a person undergoes a barium enema by mistake or a GI series by
13	mistake those are outside the purview of this organization, but there's no official kinds of
14	regulatory process that leads to these kinds of events being notified.
15	We should be compared with that kind of other modality rather than just to
16	any kind of radiation. I think that the level that's associated with this with a true
17	misadministration as a protective effort is an appropriate one and we should accept this
18	small amount as
19	CHAIRMAN SIEGEL: We're suffering from it's a point I was just going to
20	make, too. There's kind of a capacity fallacy argument that is built into the Atomic
21	Energy Act. We have the capacity to make you do this sort of thing, therefore we're
22	going to do it. It must be useful because we can do it.
23	And in fact if your argument, if your argument is correct that whenever
24	something incorrect is done to a patient, the patient has the right to be notified. And that

1	right is a high enough priority for society that it should be by regulation, than it should
2	apply to the entire practice of medicine in all its aspects.
3	And consequently instead of telling me or John or Larry or John Telford
4	about the problem, you should be up on the Hill telling Congress about the problem and
5	asking them to please make a law.
6	MS. BROWN: I know that.
7	CHAIRMAN SIEGEL: But absent that law, absent that law, you shouldn't
8	just do it to the nuclear medicine practitioners because the Atomic Energy Act provides
9	you a convenient modus operandi to achieve the goal.
10	That is a standard of fairness that I think we must apply to the practice of
11	nuclear medicine by comparison to the rest of medicine.
12	MS. BROWN: I don't agree with anything you just said.
13	CHAIRMAN SIEGEL: I know you don't.
14	MS. BROWN: First of all
15	CHAIRMAN SIEGEL: And you're entitled not to.
16	MS. BROWN: Thank you. Thank you.
17	First of all, if anybody gave me a barium enema that I wasn't supposed to
18	get, somebody would pay.
19	(Laughter.)
20	MS. BROWN: Secondly, if it's only happening in 100 per how many
21	denominating, millions? What's you know, it's like, who cares? I mean, your institution
22	is not going to file too many. It's not that much of a cost, right?
23	CHAIRMAN SIEGEL: It's not the reporting of a hundred that's a problem.
24	MS. BROWN: It's just the reporting

CHAIRMAN SIEGEL: It's the action on the 499,999,900 to prevent it from
happening is the problem. It's the cost and the added burden of preventing it because
you don't want to go through the rigmarole of reporting it.
MS. BROWN: Right.
CHAIRMAN SIEGEL: That is the major cost to society.
So I'll ask you a question.
MS. BROWN: Well, I have
CHAIRMAN SIEGEL: If every nuclear medicine procedure was going to
cost \$50 more because of this requirement, is it worth it to you, every procedure?
MS. BROWN: No, I'm not for adding more burdens here.
I'll tell you a little story. NRC lost me and my support in great measure
when they sent me a 20-page form to fill out that I already filled out two years ago when I
was appointed to this Committee.
And I said, "You're doing this to the wrong person." They haven't got many
friends left. They asked me to fill out the same 20 pages to say that my parents are still
dead, and that, you know
(Laughter.)
MS. BROWN: It just did not make sense to me. So I'm even more
sensitive to
CHAIRMAN SIEGEL: That's the NRC's fault.
MS. BROWN: Well, whoever. Whoever's fault that is, it just it was not
appreciated.
So I'm even more sensitive to not wanting to add extra paperwork than I
was before this happened to me personally.

1	So I don't want to add extra paperwork. But I want to know if someone
2	gives a wrong patient who shouldn't have gotten anything in this regard that they're going
3	to be told by someone. I don't know how to get to that without added paperwork.
4	DR. STITT: Barry, let me make a comment and sort of answer your
5	question.
6	If these sorts of things occur in hospitals, something as simple as a one-
7	time misadministration, wrong patient, you got digoxin instead of aspirin, an incident
8	report or however the hospital calls it, has to be filled out, making that statement, the
9	patient has to be informed. And it's part of the hospital process.
10	But it seems to me that some of what we're discussing here would be
11	captured within that. I mean, if it does happen
12	MS. BROWN: That would be fine with me.
13	DR. STITT: And people do get a barium enemas instead of a blood test.
14	It happened at our place. I know it sounds peculiar but it does. And that has to be
15	recorded.
16	There's no radioactivity associated with any of that, but those statements
17	have to made by JCAHO regulations.
18	MS. BROWN: Well, then, that would capture it for me.
19	CHAIRMAN SIEGEL: I believe that if there are a hundred of these a year
20	that 80-plus percent of the patients are told. That's just my level. It's just sort of the
21	minimum level of
22	MS. BROWN: Why 80 percent?
23	CHAIRMAN SIEGEL: What?
24	MS. BROWN: Why?

1	CHAIRMAN SIEGEL: Because it's just the standard. When you make a
2	mistake, you tell someone you made a mistake.
3	MS. BROWN: You. You do.
4	CHAIRMAN SIEGEL: No, doctors do. I know you don't trust doctors, but
5	doctors tell people when they make mistakes.
6	It's hard to explain why you're just sending the patient back to the floor
7	after the injection. People ask, Well, what's going on here; why didn't I have this test;
8	why did I have this test; why did you do this test to my gall bladder when I'm here for
9	heart disease? People do ask questions and you tell them you made a mistake.
10	I believe that the level the level at which people are being told is 80
11	percent or greater. I really do believe that.
12	Now, the question is, assuming you accept that as my thesis, then do we
13	want to put a set of regulations in place for that other 20 percent of those 100 here.
14	MS. BROWN: That was my question, was the standard of the practice
15	there.
16	CHAIRMAN SIEGEL: The standard we've been through that. The
17	standard of care is
18	MS. BROWN: Great.
19	CHAIRMAN SIEGEL: is truth-telling. That is the standard of care in the
20	practice of medicine. It really is, Judy.
21	Lew?
22	DR. WAGNER: I was just going to comment that the point here is that the
23	of a patient is a factor that should come under the ethics practice, and it has nothing to
24	do with the radiation that's administered.

1	We're not going to be telling specifically to the patient that there was so
2	much radiation, there's so much risk involved, et cetera, et cetera, et cetera.
3	It has nothing to do with the patient. It's simply the fact that the wrong
4	thing was done. And by virtue of the fact it has nothing to do with radiation but it's so low
5	in itself, it shouldn't come within the NRC to tell us how to practice in that direction.
6	It's just an ethical question about what went on that has nothing to do with
7	the radiation itself.
8	MS. BROWN: And do you think patients are being told out there?
9	DR. WAGNER: Oh, yes. As a matter of fact, we recently had such an
10	incident at one of my institutions.
11	And the way we handled it is we went through the referring physician,
12	called him in and told him exactly what happened, why it occurred, et cetera. And we
13	had him inform the patient of the matter.
14	So it's that simple, but you take care of these things in a reasonable way
15	according to the ethics of practice. It has nothing to do with the radiation.
16	And that's the point. And that's why it should not come under the NRC
17	rules.
18	MR. CAMPER: Could we, Mr. Chairman, try to get some consensus on
19	those two questions from the Committee? I think I know where we are.
20	Are there practical ways to apply Part 20 without compromising on this
21	issue of
22	CHAIRMAN SIEGEL: I think we answered the first question by saying you
23	ought to work out Part 20 to more clearly discriminate between a member of the general

1	MR. CAMPER: That's a Committee? That's your Committee's
2	CHAIRMAN SIEGEL: Is that do you agree with that?
3	(Several members nod their heads.)
4	CHAIRMAN SIEGEL: Okay, it's a consensus.
5	And the second one is I think is there anyone who doesn't think that some
6	either notification or recordkeeping requirements would impose an undue burden on your
7	practice?
8	And it's less the burden on the practice that I'm worried about. I can tell
9	you it's a burden on the patients as well, because what will happen, Judy, is we'll come in
10	for a study and your doctor will not have sent the requisition and he'll be playing golf and
11	you'll get sent home when you have blocked out the whole day for the study, taken off
12	from work, and I just send you home.
13	Your time's valuable. You've got to give me and my Staff the opportunity
14	to use our best judgment and expect us to get it right. All but a hundred are correct that's
15	not a bad
16	MS. BROWN: And then if you don't get it right CHAIRMAN SIEGEL:
17	What?
18	MS. BROWN: If you don't get it right, you'll tell me.
19	CHAIRMAN SIEGEL: If I don't get it right, I'll tell you.
20	MS. BROWN: That's the only thing I care about.
21	CHAIRMAN SIEGEL: Okay.
22	Continue.
23	MR. CAMPER: And I assume that it's safe to say that there's a
24	consensus that the commission's direction to the Staff to pursue rulemaking to clarify

1	that the medical administration of radioactivity or radioactive materials to a patient, which
2	includes even a "wrong patient" is the exclusive province of Part 35? I assume that
3	there's a consensus on that.
4	CHAIRMAN SIEGEL: I think we agree with that.
5	MR. CAMPER: Okay. Then can we just finish up then with this issue of
6	"patient," "wrong patient"?
7	Is there any feeling from the Committee as to whether or not it could be
8	advantageous to attempt to define "patient" or to clarify instead what is meant by "wrong
9	patient"?
10	And as you ponder that question, I would draw your attention back to that
11	list.
12	Put the wrongs up there again.
13	I would like some feeling from the Committee, is there any is there
14	anything that goes on that's not being captured by one of the wrongs that would cause us
15	to think that the only "wrong patient" could be the inadvertent patient.
16	For example, if you give someone the wrong radiopharmaceutical, you
17	know, if Patient A gets Patient B's does, the wrong route of administration and so forth, is
18	there anything other than inadvertent patient under "wrong patient" that you're aware of?
19	CHAIRMAN SIEGEL: I don't think so. Well, getting the doses mixed up,
20	that's the wrong dose.
21	DR. GLENN: It should be on there.
22	MR. CAMPER: Camp?
23	CHAIRMAN SIEGEL: Well, that getting the doses mixed up is the wrong
24	actually the wrong dose.

1	Wrong doses should be on the list, shouldn't it?
2	DR. GLENN: It's in the regulations.
3	CHAIRMAN SIEGEL: So that's what's missing.
4	MR. CAMPER: Okay, we add wrong dose.
5	CHAIRMAN SIEGEL: Yes.
6	If you add wrong dose, no, I don't think so.
7	MR. CAMPER: So does that then in turn does that say that we should
8	attempt to define what "wrong patient" is clearly in regulatory language versus defining
9	what "patient" is or is there an advantage to it one way or the other?
10	CHAIRMAN SIEGEL: I think there's a real advantage to looking at the
11	definition of a patient in reference to the scope of Part 20 and trying to do that in a very
12	broad way in reference to Part 20 rather than getting encumbered with difficult language
13	that people will not agree about.
14	Yes, Dennis.
15	MR. SERIG: Dennis Serig, Operations Branch, NSS.
16	I'd like to point out I'm partly responsible for that figure of 200 in two years.
17	I keep a database or kept a database on nuclear medicine misadministrations for 1989
18	and 1990.
19	What I'd like to point out is that over 200 is an evaluative number because
20	"wrong patient" and wrong radiopharmaceutical are quite often confounded.
21	If a patient who is scheduled for a nuclear medicine study got another
22	nuclear medicine study, that is sometimes reported as a "wrong patient"
	nacioal modeline stady, nacio comenne reperiod de a mong parent
23	misadministration.

1	I did my best, in going through the data, to ensure that what you saw, the
2	200, were in fact people who were not scheduled for a nuclear medicine procedure at all.
3	Many were scheduled for some other procedure, a CT scan or some
4	other procedure, an x-ray, for instance.
5	Some were scheduled for no procedure at all. They simply got the
6	nuclear medicine procedure inadvertently, so there might be some help to distinguishing
7	at least between people that were scheduled to get a radiopharmaceutical dose and
8	those who were not.
9	CHAIRMAN SIEGEL: Lew?
10	DR. WAGNER: That's something that I was going to say. If it's not in
11	terms of the risk, then I don't see the advantage because of the fact that it's not in terms
12	of risk.
13	It's a matter of it's the wrong patient, and whether or not the patient was
14	scheduled to receive a nuclear medicine study or a CT scan, I don't see the different. It's
15	just the wrong patient.
16	MR. CAMPER: He's merely clarifying what the numbers were.
17	CHAIRMAN SIEGEL: What you're not capturing is what about the patient
18	that is supposed to have the nuclear medicine procedure and gets sent for a CT scan?
19	Is that an NRC reportable event?
20	DR. GLENN: No.
21	CHAIRMAN SIEGEL: I'm sure our friends from OGC would figure out a
22	way to make it reportable.
23	(Laughter.)
24	

1	CHAIRMAN SIEGEL: There's some way they can twist the language to
2	make it work.
3	John.
4	MR. TELFORD: Yes, John Telford here.
5	Dr. Siegel, I'd like to see a little clarification to make sure I understand your
6	point, specifically your statement that you would favor defining "patient" in as broad terms
7	as possible.
8	But let's recall just for a moment that in Part 35, defined medical use
9	means intentional, intentional administration of byproduct material or radiation from
10	byproduct material to a patient or a human research subject under the supervision of an
11	authorized user.
12	CHAIRMAN SIEGEL: Okay.
13	MR. TELFORD: The word "patient" is used there. Now, if we were to
14	clarify a "patient," let me give you two alternatives to choose from or you can pick your
15	own.
16	The patient is an individual who was scheduled for a diagnostic or a
17	therapeutic procedure. That's A.
18	B, the patient is an individual who has been scheduled for a diagnostic or
19	a therapeutic procedure involving byproduct material. Alternately you could work medical
20	use into that definition.
21	So would you choose A or would you choose B or would you put in C?
22	CHAIRMAN SIEGEL: Which one is the answer?
23	DR. STITT: C is.
24	MR. TELFORD: C.

1	CHAIRMAN SIEGEL: But C would be change Part 20 and don't mess with
2	Part 35.
3	DR. MARCUS: May I just say something?
4	
5	I am really sincerely sorry that NRC is spending an inordinate amount of
6	user fee money making up problems to solve that are of no health risk consequence at
7	all.
8	A discussion of a study of what is a patient and a wrong one, I don't I
9	think this is way NRC's jurisdiction and it does not have to be done.
10	And I really feel for people paying that user fee bill when I see NRC making
11	up things to keep themselves busy.
12	And I think this is an example of something that is of no public health
13	hazard whatsoever. We're wasting a lot of time.
14	I understand Judy's point of view, and I understand what somebody else
15	said about it. Do you want to go to JCAHO or do you want to change the way medicine is
16	practiced, do something like that, fine.
17	But NRC's job is radiation protection. And this has nothing to do with
18	radiation protection.
19	DR. WAGNER: Don't go fiddling around with the definition of "patient."
20	Barry was giving you an operational definition.
21	He put it right into the reg itself when he said misadministration is the
22	delivery of the wrong pharmaceutical to the wrong patient or to an individual who was
23	intended to be a patient, but he was not prescribed for that dosage.
24	

1	I mean, he put it right into the reg. You just put it in there. Don't go
2	changing meanings of "patient." Barry was giving you an operational definition, so I don't
3	believe we should go throw it out.
4	MR. TELFORD: We currently don't have a definition of "patient" either in
5	Part 35 or in Part 20. You can choose C, which is no definition at all, or you can choose
6	the alternative that you just gave me. I'll change the wording of the definition of
7	misadministration so that it's more clear.
8	DR. WAGNER: It is quite clear that this is a unique definition applied to
9	that specific rule so that that would be the proper place to put it.
10	CHAIRMAN SIEGEL: Yeah, but I think the alternative is to change Part 20
11	to say that the provisions of Part 20 relating to members of the general public do not in
12	fact apply to the intentional exposure of a human being as part of a medical procedure.
13	MR. TELFORD: Okay.
14	CHAIRMAN SIEGEL: Okay. I think does it.
15	MR. TELFORD: That will work.
16	CHAIRMAN SIEGEL: That operationally defines that human being as
17	either a patient or a research subject.
18	MR. TELFORD: All right.
19	CHAIRMAN SIEGEL: Is that okay?
20	Lew.
21	DR. WAGNER: You might run into some difficulty when you get up into
22	the therapy doses on patients with that kind of
23	CHAIRMAN SIEGEL: No, no, then it gets captured as misadministration.
24	

1	Even if it's a visitor who comes in and gets treatment, that's a
2	misadministration.
3	DR. STITT: That's happened, too.
4	MR. CAMPER: All right. We now need to move over to Dr. Holahan who
5	will talk to us about the draft information notice on patient notification.
6	This is again a follow-up topic from previous discussions. We are
7	preparing or attempting to prepare another information notice, which is round two, if you
8	will, on this subject.
9	CHAIRMAN SIEGEL: Patricia, before you get into that, I think I'll introduce
10	something.
11	There are some important legal issues that came to some of the
12	principles that underlay this patient notification discussion.
13	And I'd like the record to reflect that I made a request to Dr. Paperiello
14	some days ago that one or more of individuals from the Office of General Counsel be
15	here to help us understand the issues from the NRC's point of view.
16	And we've been told that none of them are coming, are willing to come, or
17	are willing to come and they will not participate in this discussion.
18	I would just like to let the record reflect that in the sense of public-
19	spiritedness, I don't find that to be government in the sunshine.
20	Continue.
21	DR. HOLAHAN: Okay.
22	What I'd like to do is first of all tell you how we got to this information
23	notice and sort of give you some of the background.
24	

1	As many of you may be aware, last year, May 7th, we issued Information
2	Notice 93-36, which was notification records and reporting of misadministrations.
3	And what prompted that information notice was back in January of '93, we
4	had gone to the regions and they had done a survey of data on therapeutic
5	misadministrations over calendar years '90, '91 and '92 and asked licensees in how
6	many cases had the referring physician been notified as required under 35.33, what
7	percentage of the cases was the patient actually notified, and, if the patient wasn't
8	notified, was a reason provided for why the patient was not notified, and then finally, in
9	how many cases was written notification provided.
10	And basically the results of that survey showed that in the majority of the
11	cases the referring physician was notified, 97 percent of the cases.
12	I think we had 72 misadministrations over that period of time. In 72
13	percent of those, there was verbal notification of the patient.
14	Of that, the patients that were not notified, there was a in 32 percent
15	cases there was a decision made by the referring physician that it would be in his
16	medical judgment harmful to notify the patient.
17	In the remaining 68 percent, there were other reasons that included that
18	there were no adverse effects expected, the doses are within an acceptable clinical
19	limits, it was technically not an misadministration.
20	And then of the patients that had been notified verbally, in 56 percent of the
21	cases, the patient was also provided written notification as is required.
22	As a result of this, as I say, we issued the information notice, and in
23	addition, we issued a letter to licensees that they were not in compliance with the
24	notification requirements.

1	And following the information notice and the letter, we got several
2	responses back from some licensees, plus there were some issues that had been
3	identified internally by NRC that we believed additional clarification was necessary.
4	The Staff conferred with the Office of the General Counsel on the
5	interpretation of the current misadministration rule, and, based on the guidance that we
6	received, we prepared the draft information notice that's in your briefing books.
7	Now, what I'd like to do is just sort of step through the six issues that we
8	highlighted in that information notice.
9	The first relates to the notification of the patient's responsible relative. In
10	those cases where the referring physician has informed the licensee not to notify the
11	patient, there's a medical decision that it would be harmful to notify the patient.
12	The responsible relative, we discussed in the information notice, "the
13	responsible relative or guardian must be notified even when the patient is a competent
14	adult when there is a medical decision of harm to the patient, the patient is a minor, the
15	patient is unconscious or incapable of comprehending the information, or the patient has
16	died."
17	And this has been supported by the regulatory history. And I believe that
18	all the members got copies of the proposed and final rules for the misadministration
19	reporting requirements going back to the proposed rule in 1978 where it was expected
20	that the licensee would report to the responsible relative in those instances where they
21	could not report and the patient has a right to know of a misadministration, and that if you
22	cannot inform the patient, that you should inform the patient's responsible relative.
23	Well, NRC conferred with the legal counsel at the AMA and discussed the
24	issues of the principles of medical ethics and the duty of confidentiality and the

1	physician/patient relationship and whether this was consistent or the regulation was
2	consistent with these aspects of medical ethics.
3	The AMA indicated that principles are not laws but standards of conduct.
4	And I'd like to highlight two of the principles.
5	Principle IV indicates that a physician shall safeguard patient confidences
6	within the constraints of the law, and Principle III states that a physician shall respect the
7	law and the rights of patients.
8	And the Commission has previously stated that any duty of confidentiality
9	must be reconciled with the patient's right to know of a misadministration. And again,
10	that's within the regulatory history.
11	Okay. So that's the first issue. Does anybody have any comments at this
12	point, or would you like me to sort of run through the information notice, and then I've got
13	some questions at the end that may be we can address these?
14	CHAIRMAN SIEGEL: Why don't you go through it?
15	DR. HOLAHAN: Okay.
16	Issue 2 related to documentation of a referring physician's decision not to
17	notify the patient, there being some instances where there was an indication that the
18	referring physician had decided not to inform the patient but there was no documentation
19	as to what the rationale was for that decision.
20	And so what we're trying to clarify here is that if reliance is placed on the
21	referring physician to notify the patient, the licensee should either confirm that the
22	notification has been made or document and evaluate the reason for not informing the
23	patient.
24	

1	And basically when we're saying evaluate, we're indicating that the
2	licensee should look at that decision and see if it was the referring physician based on
3	medical judgment that informing the patient would be harmful, not for some of the other
4	reasons that I cited earlier.
5	Also, the referring physician may decide not to tell the responsible relative.
6	Well, let's go back a step.
7	If the referring physician's made a decision that it would be harmful to tell
8	the patient, he or she may also determine not to tell the responsible relative if he or she
9	has knowledge that telling the individual would be harmful.
10	And there have been some questions that arose as
11	
12	to whether or not the referring physician, if the responsible relative was under a referring
13	physician's care, how were they to make that judgment.
14	And it's basically that if they have any knowledge that telling them would
15	be harmful but we're not looking to go and have the referring physician take that patient
16	under his or her care.
17	In Issue 3, there was some question, and this was raised more frequently
18	prior to the QM rule being implemented, because, as I say, we went back and looked at
19	some misadministrations from '90 through '92, whether or not the licensee was required
20	to provide a written report to the patient if the referring physician had notified the patient.
21	And the way that the rule language currently is is that the licensee has the
22	responsibility, whether the licensee themselves or the referring physician notifies the
23	patient, to provide that written to the patient within 15 days.
24	

1	Issue 4, retention of misadministration records. There had been some
2	question as to whether or not there was a requirement to maintain copies of reports after
3	being sent to patients and all records associated with misadministration.
4	And in a separate part of Part 35, 35.21(b)(2)(xii), which gets into the
5	responsibilities of the RSO, there's a requirement that the licensee, through the RSO,
6	need establish and implement written procedures for keeping a copy of records and
7	reports required by the Commission.
8	And since the report to the patient is required by the Commission, then it
9	can be assumed that there is therefore a record, something that must be retained by the
10	licensee.
11	Issue 5, in many cases there are some incidents that occur that there's a
12	question at the time whether or not it actually meets the definition of a misadministration.
13	And the way that the rule language for reporting misadministration is
14	written is that the NRC Operation Center must be notified within 24 hours of discovery of
15	a misadministration.
16	Well, in those cases that there's some question but later on the licensee
17	is informed that, yes, in fact it actually is a misadministration, the licensee is still required
18	at that point in time, upon their discovery that it is a misadministration, to notify the NRC
19	Operations Center.
20	CHAIRMAN SIEGEL: Just in case anybody doesn't understand that, you
21	get a letter from the NRC that says the event that occurred a year ago has been
22	determined to be a misadministration, when you open that letter, you've got to call the
23	NRC Operations Center and tell them that you've just discovered we had this
24	misadministration a year ago and we're notifying you of it. It's cool.

1	MR. CAMPER: Well, the licensee can discover it as well.
2	DR. HOLAHAN: Yes.
3	CHAIRMAN SIEGEL: It's always been the licensee. Notification at the
4	time of licensee discovery has always been in the rule. It's just this seems a little bit
5	circular, but it's cool. It's in the regulations, and probably isn't worth rewriting the
6	regulations.
7	It just seems
8	DR. HOLAHAN: Well, at this point, we're just trying to clarify this.
9	And finally, the last issue is there's been some question in the reporting
10	requirement section regarding misadministration as it references to the term "prescribing
11	physician," which is not defined.
12	And also there has been some question as to who is the referring
13	physician in some cases of misadministrations.
14	So the Staff conducted a review of the requirements in Part 35 and the
15	associated statements of consideration for the rules, ICRP Publication Number 52,
16	which is protection of the nuclear medicine patient I don't believe that's the exact title
17	consultation with this Committee, consultation with representatives of the AMA and AHA,
18	American Hospital Association, and consultation with NRC's Office of the General
19	Counsel.
20	And based on these views and consultations, I'd just like to clarify that the
21	prescribing physician is in fact the physician authorized user as defined in the definition
22	section in 35.2, who prescribes the radiation dose, the dosage of material for a
23	diagnostic or therapeutic procedure.
24	

1	And the referring physician is the physician who refers the patient, either
2	to a radiation oncologist, nuclear medicine or other category of authorized user and
3	requests consultation, treatment or diagnostic tests for a patient.
4	It typically is a specialist, but in some cases, it may be the primary care
5	physician.
6	CHAIRMAN SIEGEL: We'll come back t this.
7	DR. HOLAHAN: Okay.
8	CHAIRMAN SIEGEL: Let's let you finish first.
9	DR. HOLAHAN: And these are questions that I'd like to
10	CHAIRMAN SIEGEL: Let's skip the questions and let's go back to slide
11	one
12	DR. HOLAHAN: Issue 1.
13	CHAIRMAN SIEGEL: Yeah, let's just run through your slides and we'll
14	address the issues from the slides, and my guess is we'll answer the questions along
15	the way.
16	DR. HOLAHAN: Okay.
17	This is Issue 1, and it's notification of the responsible relative in those
18	cases where the patient is a competent, consenting adult and there is misadministration,
19	but it would be medically harmful to inform the patient.
20	CHAIRMAN SIEGEL: It might I actually personally was very, very
21	troubled by this. I was troubled by it at the last minute.
22	In the process of re-reading all of that material and all the regulatory
23	history, I find myself less troubled about the ambiguity in the rule but more troubled by the
24	

1 fact that the rule seems to be talking out of both sides of its mouth in that there really isn't 2 either/or. In any way, they'll do the rule. 3 And maybe you just ought to change the rule to say that. The rule as you are interpreting it, and as you say, the regulatory history 4 5 shows it, basically says when there's a misadministration, someone has to be notified, 6 either --7 DR. HOLAHAN: 8 CHAIRMAN SIEGEL: No -- well, unless the referring physician is in a 9 position to tell you that not only won't the patient be harmed but the responsible relative 10 would be harm. 11 And the question is, well, surely that responsible relative, possibly him or 12 herself, also have a responsible relative that we could inform, and maybe that person has 13 a guardian. 14 So why don't you just say what you mean and say you have to tell 15 someone, if that's really what you mean. 16 Because I think -- because what you're proposing is illogical the way it's 17 currently constructed. 18 I mean, here if you tell me -- if I tell you I'm the referring physician and I 19 say Mrs. Jones got a 300 millirem overdose or misadministration therapy procedure, 20 there's no harm whatsoever, but Mrs. Jones is a very anxious woman, Mrs. Jones is 21 depressed, and we even raise this issue with her, it's going to make her more depressed 22 and upset her, and I don't want to take even that slight risk that that will interfere with the 23 course of her medical care, which I think is going pretty well otherwise; I just can't let it be 24 raised because i think it will harm my patient.

1	And so the licensee says we agree with you, we've seen Mrs. Jones when
2	she was here for her therapy and she's pretty high-strung and that's a good judgment.
3	But then the NRC turns around and says I've got to tell Mrs. Jones'
4	husband, who the licensee doesn't know very
5	
6	well and the referring physician doesn't know very well.
7	And what does Mr. Jones' husband do as soon as he gets off the phone?
8	DR. STITT: He tells Mrs. Jones.
9	CHAIRMAN SIEGEL: He tells Mrs. Jones.
10	Or you send a letter. In my house, whoever gets home first opens the
11	mail.
12	(Laughter.)
13	CHAIRMAN SIEGEL: It doesn't matter whether the letter is addressed to
14	me or the other Dr. Siegel. Whoever is home first opens the mail.
15	You can't have this rule operate the way you think it's going to operate and
16	really think that you're going to protect the patient.
17	If you believe that protecting a patient who should be harmed is an
18	appropriate mission for the NRC and its rule, then you've got to change the way this rule
19	is written.
20	If, on the other hand, you believe that society's purpose is served at all
21	times and in all circumstances by notification, then just say you've got to notify someone.
22	But right now you're talking out of both sides of your mouth. You can't
23	have it both ways. So that's my position.
24	DR. HOLAHAN: Let me ask another question then.

CHAIRMAN SIEGEL: Please.

2 DR. HOLAHAN: I think about a year ago at one of the ACMUI meetings 3 there was a discussion by the ACMUI as to how often the Committee actually believed 4 that it would be harmful to notify the patient.

5 And I believe at that time the Committee indicated that it was probably very 6 rare.

CHAIRMAN SIEGEL: Quite infrequent, right, so that in a way what we're
doing here we're spending again a lot of time and effort about a problem that really
doesn't come up very often.

10 Now, I think that your data show something different, and what your data 11 show is, I think, a misinterpretation of the regulations, but a misinterpretation that is being 12 used by both referring physicians and licensees because they don't necessarily respect 13 the regulation, which is they're translating the words, "would be harmful to the patient," 14 into a different set of words, which is "wouldn't do the patient any good to know because 15 the patient suffered no harm as a result of the event, and therefore why trouble them with 16 it?" 17 DR. HOLAHAN: Well, that's what I was going to.

18 CHAIRMAN SIEGEL: And I think many -- if we really analyzed a lot of 19 those events carefully, everything you all have done, that a lot of those non-notifications 20 arose out of that kind of reasoning rather than the strict interpretation of the regulations 21 that said the referring

the patient would suffer harm as a result of the notification.

23

1	DR. HOLAHAN: But I think we are, even now, still seeing cases that are
2	coming more frequently than you might think that the referring physician makes the
3	decision that it would be medically harmful for the patient.
4	CHAIRMAN SIEGEL: And, in fact, going back into regulatory history, if you
5	go back to 1973 and 1978 and documents
6	DR. HOLAHAN: The proposed rules.
7	CHAIRMAN SIEGEL: the original proposed rules said you had to notify
8	the patient when there was a likelihood the patient would suffer a clinically detectable or
9	adverse effect from the misadministration.
10	DR. MARCUS: Could cause a demonstrably
11	CHAIRMAN SIEGEL: A misadministration which could cause a
12	demonstrably adverse effect on the patient.
13	Now, because of difficulty defining that, we went to a much more
14	prescriptive rule saying that whenever there was a misadministration, irrespective of the
15	level of professional harm, there should be notification.
16	The original approach actually made more sense, but Judy's answer
17	would be it leaves too much discretion to the physician to decide whether the patient
18	might or might be harmed.
19	And I understand. I understand that viewpoint as well.
20	Now, let me tell you another thing that's troubling me, and that is you also
21	have to change the word "relative" or "guardian" to delete the adjective "responsible,"
22	because you can't tell me, and I don't care what the lawyers think, you can't tell me that a
23	competent adult has a responsible relative, unless the person is psychotic and is in fact
24	not competent.

	1,0
1	My wife doesn't have power of attorney for me. I haven't given it to her.
2	I'm the only one who has power for me, and I really do think that this is a breach of
3	confidentiality.
4	Now, the rule of law allows you to say we insist on the breach of
5	confidentiality. In that case, get rid of the word "responsible." Make it clear that you
6	mean for someone to be informed under all circumstances.
7	But then add one more thing to your regulation. Put in a provision that
8	protects the referring physican protects the physician from this breach of confidentiality.
9	Some laws that require reporting like infectious disease laws and things
10	like that have a provision that protects against the breach in confidentiality.
11	Maybe it's somewhere else than in the NRC regulations.
12	DR. HOLAHAN: Well, I think in the discussions with the AMA legal
13	counsel, as I had indicated, that in those cases where there is a breach of confidentiality
14	to notify to comply with the law or regulations is a law, then they are protected on that
15	basis.
16	CHAIRMAN SIEGEL: It would be even clearer if it was built into the NRC
17	regulations. It provides a much quicker way of dealing with a tort lawyer if you can simply
18	hold an NRC regulation up and say, see, I did it for this reason, because, you know,
19	sometimes there's going to be issues where the patient and the responsible relative are
20	in fact people who hate each other.
21	They can be separated, estranged, but nonetheless the husband is the
22	responsible relative or the wife is the responsible relative.
23	
24	

1	And that breach of confidentiality now turns into an actual injury, at least in
2	the patient's mind. And the physician and the licensee need some protection from that if
3	they're compelled to do it.
4	And it sounds to me like your intent is to compel us to do it.
5	Tom Greeson from the ACR is at the microphone, but anyone from the
6	Committee first?
7	(No response.)
8	CHAIRMAN SIEGEL: Tom. Please identify yourself.
9	MR. GREESON: My name is Thomas Greeson. I'm General Counsel for
10	the American College of Radiology, and I came to listen to this discussion, not claiming
11	any expertise in the NRC rules.
12	But at the ACR we have within the legal department of the College, spent
13	an enormous amount of time evaluating the relationships between radiologists and
14	referring physicians and the relationships in their institutions. And it's in that regard that I
15	comment about this proposed notice.
16	I think Dr. Siegel raised most of the questions that we intended to try to
17	respond to regarding a notice of this type being developed.
18	One of the concerns that I have is that I just heard you say, Dr. Holahan,
19	that it implied that the American Medical Association had been consulted with respect to
20	this notice and actually had in fact concurred in the recommendations that are going
21	forward.
22	And I guess that causes us some concerns as to whether or not in fact,
23	the AMA could be construed as having actually recommended that this notice is
24	appropriate, particularly the discussion you just had about the issue of notification,

1 mandatory notification and the issue of immunity, gualified immunity or whatever and 2 whether the AMA felt that that was adequate protection from potential tort liability for 3 prescribing physicians, licensees that are required to make this kind of notification to the 4 so-called responsible person of a competent patient when the referring physician has 5 determined that it's not in the best medical interest of the patient to be informed. 6 Dr. Siegel is absolutely correct that in laws that entail reporting that there 7 is normally built into the statute an absolute or qualified immunity protection. 8 In the area of insurance fraud, most insurance companies are required to 9 report to law enforcement officials, the State Attorney General's Office, or some other 10 law enforcement investigator. 11 If they have, in the course of their investigation claim, uncovered a criminal 12 act, they are required to report that to the appropriate law enforcement official. 13 And each of those laws normally contain a very specific provision that 14 says there is absolute immunity from any liability, defamation, slander, whatever of the 15 reporting entity to the law enforcement agency. And that type of legislation is very, very 16 common. 17 I guess the concern one has is the potential effect this has on the 18 confidentiality of the information when the referring physician has informed the 19 prescribing physician that it's not in the best interest of the patient to learn. 20 And, as Dr. Siegel indicated, once a so-called responsible person is told, 21 how does one ensure that confidentiality will be protected? 22 Also a concern one may have is to what extent can the prescribing 23 physician or the radiologist, the nuclear medicine physician, the radiation oncologist 24 intrude into and actually second-guess the decision-making of the referring physician.

I guess I understood what you were talking about, that there was some
 additional layer of inquiry of the referring physician as to whether or not they have actually
 made a legitimate decision.

You have to have some inquiry to their decision-making processes. Once
the referring physician says to the radiologist, the diagnostic radiologist, the nuclear
medicine physician, it's not in the best interest of this patient -- I'm concerned. It's not in
the best interest for the patient or his responsible relative or their responsible person to
know about this misadministration.

Does the diagnostic radiologist, the nuclear medicine physician, the
radiation oncologist, have a duty to go beyond on that and start inquiring as to whether or
not that actually was a decision that they made that was appropriate to that patient and
the specific physician -- that second-guessing is an issue of concern.

I guess the primary point that I would like to make and the question I would
have for the NRC is, was there a question about whether or not this in fact a new ruling?
This is the kind of thing that strikes me as going right to the heart of the
relationship between patients and their referring physicians, and it very much brings into
question that relationship.
And, frankly, those relationships are very important to physicians, hospital-

19 based physicians like radiologists and nuclear medicine physicians and radiation

20 oncologists.

They have to nurture those relationships. And to the extent that they are involved with having to provide notification in this fashion, potentially breaching the request of the referring physician had requested of them to maintain the confidentiality of this information is of great concern. That's why I asked.

1	But, frankly, this strikes me as something that's in the realm of new rule or
2	law, new policy-making that perhaps deserves a more rigorous investigation before a
3	notice is issued and some consideration is given to the former rulemaking in this area.
4	Thank you.
5	DR. HOLAHAN: I jsut wanted to clarify one point. First of all, the AMA has
6	not seen and concurred upon this notice.
7	I mean, I don't want to give any misperceptions that they have reviewed
8	and concurred upon it.
9	MR. CAMPER: Let me just add one point for clarification. This is an
10	information notice. This is the second information notice on this topic being prepared by
11	the Staff.
12	The purpose is to provide clarification to the regulated community on
13	issues that have surfaced about this topic overall since we issued the last information
14	notice that Dr. Holahan referred to.
15	This information notice, this draft information notice that you have has
16	been discussed with our Office of General Counsel.
17	What we will do at this meeting, of course, is go back in the transcript and
18	we will identify
19	these key areas of legal comment that you have raised, and we will again discuss it with
20	the Office of General Counsel as to the legal merits of your points before we issue this
21	information notice.
22	CHAIRMAN SIEGEL: Carol.
23	DR. MARCUS: I object to using any guidelines as some sort of law to be
24	interpreted by the Office of General Counsel of the Nuclear Regulatory Commission.

1	And I don't think OGC is necessarily qualified to interpret AMA guidelines
2	and AMA guidelines are not legally binding. That's the first thing.
3	I notice that the representative from the Institute of Medicine is still here. I
4	want to just read a sentence from the Atomic Energy Act to put this in perspective.
5	This is about issuing licenses for medical therapy. "In issuing such
6	licenses, the Commission is direct to permit the widest amount of effective medical
7	therapy possible for the amount of special nuclear material available for such purposes
8	and to impose the minimum amount of regulation consistent with its obligations under
9	this Act to promote the common defense and security and to protect the health and
10	safety of the public."
11	But I think the real question is whether NRC belongs in this whole arena at
12	all. I do not think it does.
13	CHAIRMAN SIEGEL: Never missing an opportunity to move to a broader
14	issue.
15	(Laughter.)
16	CHAIRMAN SIEGEL: Dennis.
17	DR. SWANSON: The point raised previously, it brings up an interesting
18	question, I think, and it skips ahead to Issue 2, is the requirement of the licensee to
19	document the reason why a referring physician did not want the patient told.
20	Does that present problems with regard to confidentiality between the
21	referring physician and the patient?
22	In other words, if the patient had a psychiatric illness that was known to
23	the referring physician, is it the right of the licensee to have that information or request
24	that information?

1	DR. HOLAHAN: When we're indicating document and evaluate if I can
2	answer this, basically the way the regulation is that the referring physician, it's based on
3	medical judgment that in his or her opinion telling the patient would be harmful.
4	That is pretty much the documentation that we're looking at is the referring
5	decision has made a decision that telling a patient would be harmful not as to the detailed
6	evaluation of exactly what they mean by harm, but what we're saying in terms of
7	evaluation, not that the referring physician has just decided it wasn't in the patient's best
8	interest.
9	The question is, would it be harmful to tell the patient?
10	CHAIRMAN SIEGEL: But that's like document and evaluate reason.
11	DR. HOLAMAN: That's right. And any information, in other words, would
12	have
13	CHAIRMAN SIEGEL: You mean evaluate relative to the regulations.
14	DR. HOLAHAN: Regulations.
15	CHAIRMAN SIEGEL: So if a referring physician writes a letter that says
16	today I spoke with Mrs. Jones or today I have decided not to inform Mrs. Jones and
17	request that you not inform Mrs. Jones because in my medical judgment, it would be
18	harmful to her to do so
19	DR. HOLAHAN: That's correct, yes.
20	CHAIRMAN SIEGEL: that is sufficient. All right.
21	DR. HOLAHAN: And in the draft information notice we have a footnote
22	that says basically just making the decision, looking to see that it's a decision based on
23	medical
24	

1	CHAIRMAN SIEGEL: At which point, the licensee is compelled to write a
2	letter to Mr. Jones, right? Right?
3	So you've got to change the rule. You've got to just say what you mean. If
4	you want us to tell all the time
5	And the other thing is tell me what a responsible relative is. Tell me let's
6	say Mrs. Jones has no spouse, has no children, but does indeed have a third cousin in
7	North Dakota who she hasn't seen in 40 years. Is that her responsible relative.
8	DR. HOLAHAN: You've got a valid point, and I don't know.
9	CHAIRMAN SIEGEL: Her only living kin.
10	I really, I just think you've really got to decide what society's purpose is
11	here and then you've got to say it straight out.
12	We'll argue with you when you finally do say it, but right now you're talking
40	
13	out of both sides of your mouth.
13	out of both sides of your mouth. (Laughter.)
14	(Laughter.)
14 15	(Laughter.) CHAIRMAN SIEGEL: And I don't mean you, Pat. I think the NRC is the
14 15 16	(Laughter.) CHAIRMAN SIEGEL: And I don't mean you, Pat. I think the NRC is the This seems to me straightforward, and you've already said it was the
14 15 16 17	(Laughter.) CHAIRMAN SIEGEL: And I don't mean you, Pat. I think the NRC is the This seems to me straightforward, and you've already said it was the licensee's responsibility to do that.
14 15 16 17 18	(Laughter.) CHAIRMAN SIEGEL: And I don't mean you, Pat. I think the NRC is the This seems to me straightforward, and you've already said it was the licensee's responsibility to do that. Is it can the licensee give the written report to the referring physician
14 15 16 17 18 19	(Laughter.) CHAIRMAN SIEGEL: And I don't mean you, Pat. I think the NRC is the This seems to me straightforward, and you've already said it was the licensee's responsibility to do that. Is it can the licensee give the written report to the referring physician who gives it to the patient?
14 15 16 17 18 19 20	(Laughter.) CHAIRMAN SIEGEL: And I don't mean you, Pat. I think the NRC is the This seems to me straightforward, and you've already said it was the licensee's responsibility to do that. Is it can the licensee give the written report to the referring physician who gives it to the patient? DR. HOLAHAN: Yes, yes. It just means there was some question that,
14 15 16 17 18 19 20 21	(Laughter.) CHAIRMAN SIEGEL: And I don't mean you, Pat. I think the NRC is the This seems to me straightforward, and you've already said it was the licensee's responsibility to do that. Is it can the licensee give the written report to the referring physician who gives it to the patient? DR. HOLAHAN: Yes, yes. It just means there was some question that, well, the referring physician told the patient, I didn't so therefore, since they told him, I did

1	CHAIRMAN SIEGEL: A question about this one. The retention record for
2	misadministration reports is five years, is that right?
3	DR. HOLAHAN: Yes.
4	CHAIRMAN SIEGEL: And what about all the background documents that
5	relate to the misadministration?
6	In reading through this, I got confused about whether any of those might
7	be captured by this, that whatever documents that the licensee might have gone through,
8	hospital records and other things that led to the report, is that
9	MR. CAMPER: My guess is you get on with the point, because even
10	some of our own records have retention times and I think this makes the other records
11	as well. I mean, those are controlled by state statute.
12	They may have been a part of the misadministration investigation. It's a problem area.
13	DR. GRIEM: What about state regulations? Some of the retention times
14	are different, aren't they?
15	CHAIRMAN SIEGEL: Well, obviously when they're different retention
16	times, the longest one wins.
17	(Laughter.)
18	CHAIRMAN SIEGEL: If the state says destroy it in three years and the
19	NRC says keep it for five, you'd better keep it for five. This is silly but funny.
20	(Laughter.)
21	DR. HOLAHAN: Do you want to go on to the next one?
22	CHAIRMAN SIEGEL: Yes. Because actually I do have a problem with the
23	next one.
24	

1	The word "prescribe," and I'll defer to Dennis and/or Carol to help me with
2	it. The act of creating a prescription sounds to me like something very specific, and the
3	physician authorized user may have done nothing more than write the procedure manual
4	that says when you do a bone scan, this is how you do it and this is the dose of
5	radiopharmaceutical.
6	It's not clear to me that that constitutes a prescription the way you've
7	defined it here. It may. Certainly it's consistent with what authorized users do, but you
8	need to be careful that you're not creating a new box that you didn't mean to create to
9	confine us in.
10	DR. SWANSON: You could change that to "determines," and it would be
11	more appropriate.
12	CHAIRMAN SIEGEL: "Determines" would be. I think "determines" would
13	be fine.
14	DR. GLENN: Let me briefly make a point. In most cases where we have
15	a misadministration, it is going to be one that requires a written directive.
16	In a case where a written directive is prepared, is there any ambiguity
17	there?
18	CHAIRMAN SIEGEL: No. When there's a written directive, there is a
19	directive.
20	(Laughter.)
21	CHAIRMAN SIEGEL: I chose not to use the word "prescription" because
22	we've had this discussion.
23	(Laughter.)
24	

1	CHAIRMAN SIEGEL: Mr. Telford will remember, no doubt, those
2	discussions.
3	But "determines" would be a neutral word that would capture most every
4	directive and diagnostic misadministration that don't involve directives.
5	There will occasionally be a patient who gets 500 millicuries of technetium
6	MDP, the entire generator somehow, and it ends up being a misadministration, not too
7	often, we hope.
8	Oh, and the thing about referring physician, typically is a specialist. Strike
9	that. A, not true, and B, not necessary.
10	DR. HOLAHAN: Okay.
11	CHAIRMAN SIEGEL: Do you all agree with?
12	that?
13	DR. STITT: Absolutely. It's usually the primary care physician
14	CHAIRMAN SIEGEL: It's usually the primary care physician.
15	DR. STITT: particularly in the new scheme of things. There won't be
16	any specialists.
17	DR. MARCUS: It's frequently the same as the prescribing physician.
18	Many people in nuclear medicine follow the patient's thyroid condition or primary thyroid
19	and determine when it's time to prepare these, so it's all the same person.
20	DR. HOLAHAN: We were thinking of cases, for example, radiation
21	oncology, where you may be seeing a specialist.
22	For example, women may be going to a gynecologist that refers her to the
23	radiation oncology department is where we were.
24	You believe that that's just unnecessary in this definition?

1	CHAIRMAN SIEGEL: I'm sorry? What? Say it again.
2	DR. HOLAHAN: That last sentence. You indicated that it was
3	unnecessary?
4	CHAIRMAN SIEGEL: Oh, about it's typically a specialist. You don't need
5	that at all. It's irrelevant to the definition, and, in fact, it's not correct, because it's typically
6	a primary physician.
7	Okay, specific questions on this. Are there specific aspects of the
8	information notice which the ACMUI I think we've gone through those.
9	DR. HOLAHAN: Yes, I think you've sort of gone through those one at a
10	time.
11	CHAIRMAN SIEGEL: Does the ACMUI 1979 medical policies? Carol
12	says no. Where is that policy statement
13	DR. HOLAHAN: Oh, yes, we do have the I'm sorry. Thanks.
14	The first two items, the policy statement. The NRC will continue to
15	regulate the medical uses of radioisotopes as necessary to provide for the safety of
16	radiation safety workers and the general public, and the NRC will regulate.
17	MR. CAMPER: The
18	DR. HOLAHAN: the radiation
19	MR. CAMPER: I'm sorry.
20	DR. HOLAHAN: safety of patients, where justified by the risk of patients
21	and where voluntary standards of compliance with standards are adequate.
22	And the third item on that is the NRC will minimize intrusion into medical
23	judgments affecting patients and into other areas traditionally considered to be part of the
24	practice of medicine.

1	CHAIRMAN SIEGEL: It's not real consistent.
2	
3	(Laughter.)
4	DR. MARCUS: I think part two and three are not.
5	DR. HOLAHAN: I was going to say, which aspects?
6	CHAIRMAN SIEGEL: I mean, the real issue is the NRC actually was
7	closer in the way it should have been would be the original proposal, which is where
8	demonstrable harm
9	DR. HOLAHAN: Clinically adverse effects.
10	CHAIRMAN SIEGEL: And in this case, it will be where justified by the
11	risks.
12	I mean, the best example of patient notification are some of these
13	brachytherapy things where parts of the body that normally would have gotten exposed
14	as part of the treatment anyway are getting a little bit more exposure because the source
15	was in this position for a second and there is no overall effect or equivalent change.
16	There is no change in the overall risk from the therapeutic procedure.
17	Here's a clear example where notifying the patient by compulsion
18	becomes kind of silly. It's not justified by the risk to the patient and it just becomes an
19	irritation.
20	Is it appropriate for the NRC to have the data about the event because it
21	might be a signal of generic problems with the device, with the procedure, with the way
22	people are quality-controlling things? Absolutely.
23	
24	Must the patient be notified of those circumstances? Probably not.

1	And so I think one of the issues that you may want to look at is whether
2	the thresholds are set correctly for all types of misadministrations.
3	For example, wrong site. Does the wrong site always require reporting or
4	does it have to be wrong site with the radiation dose being some significant fraction
5	higher than a dose for that site would have otherwise been?
6	DR. HOLAHAN: Yes, apparently there's no threshold
7	CHAIRMAN SIEGEL: Apparently there's no threshold.
8	DR. HOLAHAN: in the regulations.
9	CHAIRMAN SIEGEL: And in fact, you can extract wrong site to the point of
10	absurdity, which is, as I was pointing out this morning, if a dose to the thigh as a source
11	is moving into an applicator by a remote afterloading system is normally supposed to
12	occur at a certain rate, and for some reason occurs at half the rate, it's slower, then the
13	wrong site got an unnecessary dose.
14	And you could make that argument infinitesimal, and eventually it really
15	gets very silly.
16	DR. GRIEM: In about 1974, thanks to Eastman Kodak, we recorded each
17	treatment on Hodgkin's Disease for a year with a special film they had developed.
18	So we then scored all those films, and there were lots of them. One of
19	my residents, he looked at every one and scored them for patient error, physician error
20	and technician error.
21	Patient error was that the patient moved during the treatment. He found
22	that as an error about 15 percent of the time.
23	Physician error was that he didn't know whether it was A or B. And we
24	had one physician out of 6 who was not very good.

1	And then we had technician error that consistently this one technician it
2	was an interesting study.
3	And it seems to me why you really look at errors or misadministration if
4	you call it that is that they do occur, the patient may move, and when we document it,
5	should we report it? Should we tell the patient you screwed up, it's not our responsibility
6	and turn the machine off?
7	So there are more errors out there than are being reported if you really
8	look for them. And it seems to me some of this, there's nothing you can do about it.
9	We couldn't figure a way around some of these errors.
10	CHAIRMAN SIEGEL: The ones to look for are the ones that happen.
11	DR. GRIEM: That's right.
12	
13	CHAIRMAN SIEGEL: The ones that harm people, not the ones that don't.
14	DR. GRIEM: The interesting outcome was that we looked at these errors
15	and then five years later said, well, did the patient's outcome, was that affected by this?
16	And some of them are.
17	CHAIRMAN SIEGEL: Okay.
18	MR. CAMPER: That's it.
19	DR. HOLAHAN: That's it.
20	CHAIRMAN SIEGEL: That's it?
21	DR. HOLAHAN: Yeah, move on.
22	CHAIRMAN SIEGEL: Any other comments? Interesting discussion here.
23	I'm going to take a 10-minute break.

1	CHAIRMAN SIEGEL: Are we ready to resume again?
2	All right, next, actually I would really like Judy here so we can continue this
3	discussion.
4	The discussion of the American Osteopathic Board of Radiology
5	certification. Larry.
6	MR. CAMPER: Okay, just a background before we actually get into the
7	particulars of the American Osteopathic Board of Radiology, for the audience and the
8	record, Part 35 contains certain board certifications that NRC recognizes as being
9	sufficient to meet certain levels of training and experience that have been deemed to be
10	minimally acceptable to protect all the public safety, and a number of board certifications
11	is listed.
12	And from time to time, a certifying body will come to us and ask that their
13	certification or that a new certification be recognized or approved in our regulations. We
14	have such a request from the American Osteopathic Board of Radiology.
15	What we do in this case is that first Staff will review the board certification
16	process to make a determination if it meets guidelines that have been discussed or
17	established in the past and if it is essentially consistent with or equivalent to other board
18	certifications of the same modality in question.
19	Once we do that, we then bring it to the Advisory Committee on the Use of
20	Isotopes and ask this group for its opinion as to whether or not it should be recognized
21	for some certification for the reasons requested.
22	So, with regards to this particular request, the American Osteopathic
23	College of Radiology, the AOCR, requested recognition in CFR Part 35, diplomates in the
24	

1 American Osteopath Board of Radiology. The letter is dated May 25, 1990; July 26, 2 1990, NRC. 3 An individual certified by AOBR are currently recognized in 10 CFR 4 35.910, training for uptake, dilution and extrusion studies, and 10 CFR 35.920, training for 5 imaging and localization studies. 6 NRC responded that diplomates of AOBR would be recognized in the 7 demonstration of training and experience sufficient to gualify also in 10 CFR Part 35.980, 8 safety officer. 9 Now, the American Osteopathic College of Radiology, in a letter dated 10 August 4, 1993, requested recognition of diplomates certified by the AOBR, 10 CFR 11 35.930, training for therapeutic use of radiopharmaceuticals. 12 AOCR submitted the following documents in support of their request. 13 Number one, basic standard for residency training in radiation oncology; and, two, 14 general information of candidates, Radiation Oncology Certification Examination. 15 These standards were reviewed against other board standards currently 16 recognized by NRC in 10 CFR Part 35.930. 17 The Staff requested additional information on March 21, 1994. AOCR 18 submitted additional information. The letter is dated April 22, 1994, and April 26, 1994. 19 And those standards and subsequent letters are contained in your briefing booklets. 20 The Staff has reviewed this information, and has determined that it does 21 lead -- it is equivalent to other board certification which has been recognized to satisfy 22 the criteria required in 35.930. 23

1	And, consequently with that piece of background, we ask the question as
2	to whether or not the basic standards of certification by AOBR will meet the minimal
3	training requirements of 10 CFR 35.930 in this Committee's viewpoint.
4	And, if so, should certification by the AOBR be recognized in NRC
5	document 10 CFR Part 35.930?
6	CHAIRMAN SIEGEL: Okay, just to clarify now, the AOBR certification in
7	radiation oncology currently has gained status with respect to brachytherapy and
8	teletherapy. I just wanted
9	MR. CAMPER: That's correct.
10	CHAIRMAN SIEGEL: And AOBR certification in diagnostic radiology
11	currently has gained status with respect to uptake, dilution and excretion studies and
12	diagnostic imagining.
13	MR. CAMPER: That's correct.
14	CHAIRMAN SIEGEL: And the request here is for the AOBR certification in
15	radiation oncology to have deemed status for therapeutic use of radiopharmaceuticals?
16	MR. CAMPER: That's correct, under 35.300.
17	CHAIRMAN SIEGEL: Good.
18	Carol.
19	DR. MARCUS: I just have some questions. In Article 4, "Program
20	Requirements," page 5, they say, down the middle of the page, they're talking about
21	general educational requirements.
22	These are to train the basic radioisotope handling techniques under the
23	direction of a qualified radiation physicist, 200 hours.
24	

1	Then they list four categories and they add up to exactly 200 hours. And
2	is this in addition to the 200 hours of handling techniques, or is this what they're calling
3	them, radiation physicists These, the 200 hours, are there 200 hours of handling
4	techniques?
5	CHAIRMAN SIEGEL: This is an Article 4, Subsection C, Item 2; right?
6	DR. MARCUS: Okay, so I was just wondering. Those 200 hours of it
7	looks more like lecture material. It doesn't really say any
8	On the next page, Item 8, where logs are kept for all these therapies, I
9	wondered if anyone had ever checked the logs to see if these radionuclide therapies
10	were in there.
11	And then on page 7, item E1, they're talking about supervised clinical
12	experience that includes the use of I-131 for diagnosis of thyroid function.
13	There is a diagnosis too and there's a limited role for I-131 these days in
14	the diagnosis of thyroid function.
15	CHAIRMAN SIEGEL: No, not prior to the therapy with I-131. I mean, most
16	people do a thyroid uptake before they treat hyperthyroidism.
17	DR. MARCUS: Oh, yes.
18	CHAIRMAN SIEGEL: If that's what you're talking about.
19	DR. MARCUS: Well Okay, then, you know, it sounds like if they're going
20	to do any diagnostics things too, and I just wanted to see if that was here.
21	So, any clarifications on the logs, on the 200 hours
22	MR. CAMPER: On the 200 hours, I agree. It's ambiguous. We were
23	trying to find Trish Holahan. I believe it's 35 percent in comparison to the other
24	certifications.

1	DR. GLENN: Carol, if your question is, "Have we inspected these
2	programs?" the answer is no.
3	DR. MARCUS: Okay, thanks. A program like this was aimed as your
4	minimum standards is kind of interesting in itself.
5	MR. CAMPER: Well, it's not that their program is aimed at meeting our
6	minimum standards. Their program is aimed at having their board certification listed as
7	a recognized certification to meet our requirements.
8	DR. MARCUS: Yes, but in order to justify why that should be the case
9	what they list as what is given in their diplomates just happens to be your minimum
10	standards.
11	CHAIRMAN SIEGEL: Well, actually, Carol
12	DR. MARCUS: Like
13	CHAIRMAN SIEGEL: The 200
14	DR. MARCUS: Right.
15	CHAIRMAN SIEGEL: The 200 hours though actually exceeds the
16	minimum standards currently in 35.930, which only requires 80 hours of classroom
17	experience.
18	Let's see. What they are doing is related to but not identical to what's in
19	35.930, which says the alternative board certification "has had classroom and laboratory
20	training in basic radioisotope handling techniques applicable to the use of therapeutic
21	radiopharmaceuticals and supervised clinical experience as follows"
22	And that includes the 80 hours of classroom and laboratory training that
23	includes radiation physics and traditionally in connection with the mechanics of radiation
24	biology, and supervise clinical experience under the supervision of the authorized user of

a medical institution that includes ten hyperthyroids and three thyroid carcinomas. That's
 35.930.

3	They are incorporating the 80 hours required for source therapy, along
4	with the didactic training that they require as a minimum as part of a residency program.
5	Now, whether the overall amount of training and experience they're
6	required to take as a residency program is sufficient is a different question, as part of the
7	three-year residency program in radiation oncology. Do you have a clarifying point?
8	MR. CAMPER: No.
9	CHAIRMAN SIEGEL: Okay.
10	Are there comments on this?
11	DR. SWANSON: I just have a question. What they have is consistent
12	with 35.930.
13	Are we saying that they're limiting their therapy to I-131s? We may be
14	getting ahead here. I don't know what we're going to do for training requirements with
15	things like Strontium 89, P-32, chlorydal phosphate, et cetera, but that is an item of
16	concern.
17	CHAIRMAN SIEGEL: At a previous meeting we said that Strontium 89
18	therapy in safety training and experience required for the Strontium 89 therapy was
19	covered by the training and experience required. That was incorporated in either of the I-
20	131 categories, hyperthyroidism or thyroid carcinoma.
21	And so we, I think at previous meetings, I think I recommended to the NRC
22	that no regulatory patch was required at the present time.
23	
24	

1	We did acknowledge that when it got into the one and half curie therapies
2	with I-13 monochromial antibodies that some additional look at what's going to be
3	required would be necessary.
4	MR. CAMPER: Yes, but the they are granted for recognition of 35.930,
5	the materials listed in 35.300, which is therapy uses. That would include Strontium 89
6	therapy.
7	CHAIRMAN SIEGEL: And P-32.
8	MR. CAMPER: And P-32.
9	CHAIRMAN SIEGEL: Both intercavitary and even though the actual
10	training was only documented with I-131.
11	I have a different concern from the one Carol raised, although I think she
12	raised a good one.
13	We have two sets of documents here. We had a document that was
14	signed off by the AOCR in October '92 and by the AOA and that's the American
15	Osteopathic Association, alpha omega alpha in 1993.
16	And those standard included the mention of radionuclides therapy in the
17	purpose and the definition of radiation oncology, osteopathic radiation oncology, but they
18	did not include a section, Roman numeral four, subpart E, that says this is the training
19	and experience that's required.
20	It was after that that the AOCR made its request, and I think it was told by
21	the NRC that they needed to send more information.
22	So their standards for a training program were modified. And the
23	document, the AOA document approved 4/94 and the AOCR approved 10/93, that's the
24	

version that's up front, now includes this section of Roman numeral four, subpart E, that
 says you got to do this and you have to do ten of these and three of these.

Okay. For those of you who are involved in any way with the activities of
the ACGME, a change in the special requirements for a training program is approved by
the ACGME. That's the Accreditation Counsel on Graduate Medical Education.
There usually is a minimum one-, often three-year lead time for training

programs to become compliant with that change in the special requirements.

8 So it seems to me that the osteopathic radiology training programs have
9 changed their special requirements in anticipation of a need to fulfill a contractual
10 commitment to the NRC in order to achieve deemed status.

And the question I would ask is what is the evidence that the training program is going to achieve that, that they are in fact currently in compliance? How many programs are there? Are they in compliance? And what should the real start date of this deemed status -- When should it be? And should any grandfathering whatsoever should be permitted, given the program requirement was only changed sometime in the last month?

MR. CAMPER: You have two points there. First, in regards to, what is the
guarantee that in fact these changes have been implemented and are ongoing at this
time, it's a problem that we would have across the board with any certification that we
would accept.

In other words, we do not inspect the certification program. We review
them. We ultimately approve them with input from this body based upon the submitted
program.

1	We do not inspect them as a condition of acceptance nor do we inspect
2	them in an ongoing fashion to see if they are in fact doing what it is they said they would
3	do.
4	We either accept the certification based upon the submittal, this
5	Committee's review, or we do not.
6	With regards to grandfathering, we certainly could establish a date from
7	which diplomates concluding this program would be accepted for certification.
8	DR. MARCUS: Considering your tremendous preoccupation with
9	radionuclide therapy misadminstrations, it would seem to me that the most important
10	decision you make is who you're going to let do the
11	And then, although maybe you're not in the habit of actually inspecting
12	some of these programs to make sure their claims are valid, maybe you ought to
13	because it seems so sloppy on this end and so overpoweringly nitpicky on the other end
14	that some balance is reasonable here.
15	You're very concerned with the management of medical programs. Many
16	people have said that, Well, as far managed programs, you really don't understand
17	what's involved very well.
18	And this is the place where you make clear that the educational
19	requirements are for real.
20	I'll tell you, Larry, if the word got out that you were actually looking at some
21	of these residency programs to make sure people were telling the truth, there would be
22	national consternation in a lot of medical training programs.
23	
24	

1	MR. CAMPER: Well, the issue of training and experience is something
2	that will be revisited again as we move ahead here with a medical management plan, as
3	we ultimately revise Part 35. That's an issue we can explore as a part of the process.
4	I think that the reason, in all candor, that we have not inspected these
5	programs in the past and so forth is that I guess, in all honesty, we have believed the
6	certified organizations.
7	I'm not sure there is any reason not to have confidence that what they
8	submitted to us was in fact was true, and that they were in fact conducting the
9	programs accordingly, but perhaps that's naivete on our part.
10	CHAIRMAN SIEGEL: Without getting into the issue of with respect to
11	training and experience, we'll do that another time.
12	I think I would suggest that what we may want to do here is to tell you that
13	on paper these programs are likely to meet your minimum requirements, but that you
14	probably shouldn't accept certification by this board as deemed status until three years
15	from now, because these requirements have not been part of the special requirements of
16	this board certification until April 1994.
17	MS. BROWN: Aren't you talking about one little item, E?
18	CHAIRMAN SIEGEL: Yes. That's the item that relates to this medical
19	activity.
20	MS. BROWN: So you're saying it's a big part of it and everybody agrees
21	with?
22	CHAIRMAN SIEGEL: No, not at all. Item E is the essence of this
23	particular medical activity. This board already has deemed status for a much larger
24	

1 fraction of what these diplomates will do as far as the practice of teletherapy and

2 brachytherapy therapy.

MR. CAMPER: With regards to the three years, you're saying that based 3 4 upon that that's the length of the residency? 5 CHAIRMAN SIEGEL: Yes, that's the length. 6 MR. CAMPER: Well, could there not be diplomates currently in a 7 residency program that have accomplished this element? 8 CHAIRMAN SIEGEL: Only if -- yes, it's possible, but from a deemed 9 status point of view can you document it? The point is let's say that the way the 10 therapy rotation normally would be accomplished is that it's done in a two-month period 11 in the first year of a training program. Third-year residents aren't going to get the 12 opportunity now unless programs make special adjustments regarding the program. 13 And I just can tell you that, I mean, when the Medical Board of Radiology 14 makes a change like this, they announce that they're not going to examine in this change 15 or this changed topic area for four years. 16 So everybody currently in a program has a chance to remove down the 17 cohort and the first people examined are those who enter the cohort to whom these are 18 requirements apply. I think I said that correctly. 19 Peter? 20 DR. ALMOND: Well, there's a couple of points. Historically I think these, 21 you know, you pointed out the two areas where they are competent by reason of their 22 certification. 23 And, as far as we know, they have always performed well. There's no 24 indication that in the applicable association has done anything but excellent medicine.

1	And in the past, when we have reviewed specific cases that have come
2	through, I think in general historically they have always met up to the standards. So I don't
3	think there is any reason to doubt what they put this in place that they will be anything but
4	qualified
5	CHAIRMAN SIEGEL: Correct.
6	DR. ALMOND: to do the work. And I think we need to say that. I don't
7	think we're doubting.
8	CHAIRMAN SIEGEL: I agree completely.
9	DR. ALMOND: And there is a mechanism now, of course, that for them to
10	send in their records to show that they have done certain cases to gain approval by the
11	NRC.
12	Or, more often, as in our case, it's at a state level where they'll have their
13	preceptor statements and how many cases of this, that and the other they've done. So
14	there is a mechanism in place for that.
15	But I would very strongly recommend that we accept this after the three-
16	year period. I don't think we historically have any other reason not to.
17	MS. BROWN: I again was wondering about the three years. That seems
18	a little extreme. And I don't understand the politics. All I know is a vague "MDs don't like
19	osteopaths."
20	CHAIRMAN SIEGEL: No, that's not true. This has nothing to do with
21	nuclear medicine versus radiation oncology. You're missing a much bigger turf issue
22	here, MDs versus osteopaths.
23	(Laughter.)
24	MS. BROWN: I need to know some background here.

1	CHAIRMAN SIEGEL: But, forget the background. This has to do with
2	paper trails. And there's an appropriate paper trail that needs to be in place when a
3	training program is going to change, and that paper trail needs to change both in
4	relationship to what people are examined in and what they hold themselves out to be to
5	the general public.
6	The paper trail also needs to change with respect to the deemed status
7	created by the Federal agency.
8	If this board is prepared to state that as of this day they are requiring
9	program directors to certify at the time when candidates are admitted to the examination
10	that their candidates are having this training, then you can do it tomorrow.
11	But I think you need more information from the board as to whether these
12	training requirements are really in place already.
13	MS. BROWN: But if that candidate were to get the training under E, how
14	long would that take? Would they just add it on? I mean, three years seems
15	CHAIRMAN SIEGEL: No, the three years is not to do the training. The
16	three years is based on
17	MS. BROWN: No. Right, the candidate couldn't be
18	DR. GLENN: I wonder if I could clarify this for you, Judith, and that is that
19	this in no way locks this individual out of being approved as an authorized user.
20	All it says is the paper trail that has to be presented has to be presented
21	by the candidate rather than simply referring back to his certification.
22	MS. BROWN: Oh, that clears it up. As long as it you're not locking
23	CHAIRMAN SIEGEL: Oh, no, absolutely not.
24	MS. BROWN: Thank you for clearing that up.

1	CHAIRMAN SIEGEL: It's just a mechanism. It's just whether you simply
2	present your certificate or whether you have to complete a preceptor statement and have
3	someone sign it that says, yes, you have this training.
4	MS. BROWN: Okay. Thanks.
5	CHAIRMAN SIEGEL: The point of deemed status is that it's in lieu of the
6	latter step, because it's assumed that the board and the residency review committee has
7	already taken all those steps for you.
8	Bob, you had a comment?
9	MR. QUILLIN: I was just going to say that typically when the American
10	Board of Radiology imposes some new requirement, they give a three-, four-, five-year
11	warning on it.
12	And that is designed so that you can change your training program so that
13	the residents can get the necessary clinical experience and also to get the necessary
14	training in the lectures and so forth and so in that particular area. And the clinical
15	experience is very important because it says you dealt with so many patients at a certain
16	condition, and you just can't call in ten patients and say, here are ten patients with this
17	clinical condition. It's when they present themselves to the hospital.
18	And then the resident has the opportunity to see the patient and see the
19	treatment and pursue this from that. So it's a subject just can't initiate overnight.
20	CHAIRMAN SIEGEL: Any other comments?
21	(No response.)
22	CHAIRMAN SIEGEL: So have we achieved a consensus then that the
23	special requirements for this residency program as it's currently laid out are consistent
24	

with the requirements of Part 35, the issue that's open is when timing of deemed status
 should granted.

3	And it is conceivable that if you have further correspondence with this
4	board, they can document to you that they've implemented procedures that would allow
5	you to go ahead immediately or they can make it clear that have not instituted those
6	procedures, when in which case three years might be the soonest you can go ahead.
7	MR. CAMPER: That's clear.
8	CHAIRMAN SIEGEL: The next item, status reports. First, Kitty
9	Dragonette is going tell us about patient release criteria.
10	Dr. Marcus is not able to speak to the next two items as a member of the
11	Committee. If I feel like it, and I may not, I may recognize her as a member of the general
12	public. I'm not going to make her leave the table, however. Okay?
13	MS. DRAGONETTE: I hope this is going to be quick.
14	Well, there's good news and I think you could use some, and some with
15	which you can agree.
16	Since your book was put together, the Commission did act on the pending
17	Commission paper on patient release. As you recall, you've been briefed on that a
18	number of times, and the paper that was pending basically took the position that Part 35,
19	not Part 20, governs when you can release a patient from your institution.
20	And it was proposing modifications to Part section 35.75 of Part 35.
21	The "Staff Requirements" memo was issued May 11th. It approved the
22	whole package that was pending without change.
23	
24	

1	That package included the proposed rule text, the regulatory guide and the
2	NUREG with the details of the cost and the decision rationale that we call a regulatory
3	analysis.
4	All of those documents are in the process of being doing our internal
5	things to get them published, and you should see them in just a few weeks.
6	I've been working this week scrounging with computers as best we could,
7	but it just takes some time to get things through the system to get them published, but
8	there are no issues to resolve.
9	And what that means as a practical matter is that the Commission
10	endorsed what was in the February information notice that 35.75 governs the release of
11	patients, not Part 20, so that means your 30 millicuries and 5 MR per hour provisions are
12	governing until this rulemaking is concluded.
13	I've reviewed very quickly what was in the proposed rule package as it
14	was approved. First of all, Part 35 does prevail, but then the second part of that was
15	proposed modification to 35.75, which would provide that you could release licensees
16	from licensee control if the total effective does to an individual is not likely to exceed 500
17	millirem in a year.
18	And that is a prospective, "is likely to be." It's done based on calculations
19	and estimates.
20	It also has some associated requirements that if the projected dose would
21	exceed 100 millirems in a year, then you should give instructions to the patient for
22	keeping the doses to members of the public as low as reasonably achievable and keep
23	records associated with that for three years.
24	

1	It also has a provision to formally amend and codify this in Part 20,
2	20.130(a) and it would amend both 1301(a)(1) and (a)(2), so that doses received from
3	members doses received from patients that are released from the licensee's control
4	do not have to be considered in complying with the 100 millirem a year public dose limit
5	or the 2 millirem per hour dose rate.
6	And there was also a couple of cross-references to this proposed section
7	35.75 in 35.315 and 35.415.
8	One new issue that was in the preamble and in the regulatory guide that I
9	don't think you were aware of was that in evaluating the potential exposures to an
10	individual, the nursing infant should be considered and evaluated.
11	In other words, that you would need to determine that whether or not the
12	patient was nursing, and then, if so, deal with that so that the nursing infant would not be
13	likely to get more than 500 millirem in a year.
14	And that's to say that's in the preamble to the rule in saying that what we
15	mean by an individual, and it's in the regulatory guide in the same sense.
16	And the regulatory guide includes three basic components, one of which
17	is a table by radioisotope, giving the radiation level and the quantity for both 500 and 100
18	levels, so that's your quick-and-easy way to demonstrate compliance. You can look it up
19	in the table. It also includes additional guidance on instructions and guidance on
20	evaluating on a case-by-case that an individual is not likely to get more than 500.
21	CHAIRMAN SIEGEL: Are those tables all based on the patient who gets a
22	sealed source or any of them
23	MS. DRAGONETTE: That is an assumption in looking through it, we
24	determined that for those listed isotopes and what's going on today, we felt the internal

1 contribution would be small enough you could ignore it. So those -- the table is the --

2 [based on external exposure from] the patient --

3 Now, the case-by-case or, you know, if you exceed the quantities in the 4 table, monclonals or something, then you'd have to go to the case-by-case evaluation 5 and you might have to consider the potential for internal -- significant internal uptake, but 6 it was found to be small enough to ignore for the purpose of the proposed table. 7 CHAIRMAN SIEGEL: I assume that the calculated value in the table for I-8 131 is not significantly different from the current 131 table? 9 MS. DRAGONETTE: Right. 10 CHAIRMAN SIEGEL: Is that true? 11 MS. DRAGONETTE: Yes. 12 I think -- it's six instead of five. Well, let's see. For the 500 it's 33 13 millicuries and 7 millirem. So that's pretty close, actually a little higher. 14 DR. WAGNER: On that nursing infant, is there any specification 15 regarding external versus internal dose on a nursing infant who has a -- of a mother who 16 has a radiation misadministration, for example? 17 MS. DRAGONETTE: If you were estimating the 500, you should take into 18 account the proximity during nursing. 19 DR. WAGNER: But that's external dose. I'm talking about an internal 20 dose to the nursing infant from the mother's milk. 21 MS. DRAGONETTE: Yes, that's the primary thing you would do to show 22 that you would meet the 500 total effective dose is that you'd have to discontinue nursing 23 for at least a short time or maybe indefinitely, depending upon the half-life of the isotope. 24

1	Part of your determination it would be difficult to release a patient and
2	allow them to nurse and show that the dose to the infant would be less than 500 because
3	of the transfer to the milk.
4	CHAIRMAN SIEGEL: What this is now doing, if I understand you correctly,
5	is that it's codifying a nursing infant clearly as a member of the general public
6	MS. DRAGONETTE: As an individual to whom this 500 millirem dose
7	applies.
8	CHAIRMAN SIEGEL: Right.
9	MS. DRAGONETTE: We never said they are a member of the general
10	public.
11	CHAIRMAN SIEGEL: In fact
12	MS. DRAGONETTE: And as a practical matter
13	CHAIRMAN SIEGEL: Previously a 100 millirems might have well have
14	applied, depending on how you want to interpret Part 20, right?
15	MS. DRAGONETTE: Right, so this would allow 500 to the infant rather
16	than 100 if you want to apply Part 20.
17	CHAIRMAN SIEGEL: Have you we're coming to the item about
18	pregnancy and nursing, two items out of line. Have you by default now established a
19	reporting criteria related to the nursing infant that might be different in conducting what
20	was a previous
21	MS. DRAGONETTE: Well, actually it was added to the rule in conjunction
22	with the people that were working on the other rule, saying it's very unlikely that you
23	would have in-house nursing, that you ought to be able, you know, if the patient brought
24	their infant in the patient release is dealing with the patient and the exposure from

1 patient after they're released from the licensee control. So we thought that would cover 2 dealing with the nursing infant. 3 CHAIRMAN SIEGEL: Okay, we need to work this one through. We need 4 to hear what Sher has got to tell us about the other rule. These rules may be colliding 5 with each other, if we're not careful. 6 MR. CAMPER: Yes, in particular pointing out whether or not you 7 sequester the mother from the child so you cannot in fact, so that -- that's another very 8 complicated issue. 9 CHAIRMAN SIEGEL: Up to now on the pregnancy and nursing issue, we 10 have been addressing inadvertent administrations of pregnant and nursing mothers that 11 were not intended. 12 It sounds to me like all of a sudden we're getting something that says, 13 "Under no circumstances may the dose to the infant ever exceed 500 millirems," even if 14 it was medically intended that that be the case. 15 MS. DRAGONETTE: That the infant get the --16 CHAIRMAN SIEGEL: So we're in fact -- and that may be right. I just want 17 to make --18 MS. BROWN: How can it be medically intended if the mother is making 19 that determination that she's going to nurse. 20 Nobody's making a medical determination. The medical intention is for 21 the mother, not for the infant. 22 Well, let me back track. I know that, Judy, but this really gets very 23 complicated. If you'll go back to our discussions about pregnancy --24 MS. BROWN: Pregnancy.

1	CHAIRMAN SIEGEL: Let's talk about pregnancy first.
2	MS. BROWN: About unintended.
3	CHAIRMAN SIEGEL: If the issue with pregnancy was unintended. It is
4	entirely possible for me to be aware that a patient is pregnant and to go ahead with the
5	administration of the radiation anyway because I believe it is essential to the patient's life
6	to do so, irrespective of her pregnancy, okay?
7	Similarly it is entirely possible that I might have to administer radiation to a
8	breast-feeding mother, lactating mother, fully aware that the infant potentially could get a
9	dose in excess of 500 millirems, but I was doing that intentionally.
10	And I think good medical practice would dictate that you wouldn't do that
11	very often.
12	But our past discussion, I think, did allow for some conditions under which
13	that could conceivably occur. It sounds to me like what the construct has now been
14	made that you can't do that under any circumstances because the infant is being treated
15	as a type of a member of the general public who cannot have a dose exceeding 500
16	millirems under any circumstances.
17	MS. DRAGONETTE: Well, the in being prospective, it's saying that
18	are you saying there that if you discussed it with the breast-feeding patient and told them
19	the potential risk or harm to the infant and, you know, you recommended that they
20	discontinue nursing that if they said, "No, I won't," then you would still go ahead and give it
21	to them and allow with knowledge?
22	I mean, is that the issue you are getting into?
23	CHAIRMAN SIEGEL: No.
24	

1	MS. DRAGONETTE: Because the intent with you will be able to read it
2	in context later. Maybe I'm not explaining it that well.
3	But what we are trying to do with this rule is say, in assessing whether
4	you can release the patient from your control, has nothing to do with whether you can
5	administer it to the patient.
6	If you want to keep the patient in the hospital to control the dose of the
7	nursing infant
8	CHAIRMAN SIEGEL: So it's okay for the infant to be there in the patient's
9	room nursing. It's just that the patient hasn't left your control.
10	MS. DRAGONETTE: Well, hopefully, hopefully you wouldn't allow that.
11	But what we're trying to do is to say evaluate that potential dose to that
12	infant. You know, what's the most likey exposed individual?
13	The infant, if she's nursing ,is the one that's likely to get the highest
14	exposure. Evaluate that. Instruct her in your judgment, you know.
15	Instruct her that she shouldn't nurse for either so many hours, days,
16	weeks or stop nursing. Otherwise but once you did that and in your judgment she
17	understood, she agreed, and so as far as your determination was concerned, you told
18	her to stop, she agreed to stop, so it was likey the dose to the infant was not likely to
19	exceed 500.
20	Now, if she deliberately goes against her agreement and her instruction
21	and nurses anyway, you, the licensee that released her from her control, would not be
22	guilty of anything.
23	You made a good-faith effort to evaluate the likely dose. You talked to her,
24	you know

CHAIRMAN SIEGEL: You're really creating a new interesting Pandora's
box here. I mean, your table is not complete then.
MS. DRAGONETTE: The table excludes
CHAIRMAN SIEGEL: No, your table has your table has now got to be
modeled to include a nursing infant for all possible internal sources as well.
MS. DRAGONETTE: Well
CHAIRMAN SIEGEL: Because in order to be in compliance with what
you're saying, if I do a study with 20 millicuries of pertechnetate for a diagnostic study, I
have to I actually now have to keep the patient in the hospital for 24 hours rather than
let the patient go home and not nurse because that's the only way I can control and
prevent the patient from delivering a dose in excess of 500 millirems to this particular
member of the general public.
I think we're getting into a real funky situation here that needs to be a lot
more carefully thought.
DR. MARCUS: There's something else with that. You can't keep a
patient in the hospital against their will. That's battery.
You can give it has happened to me that I can give them therapeutic
levels of I-131 to patients, who much too early for my taste, have got up, signed out, AMA,
and left.
And you can't hold them. You just can't hold them.
CHAIRMAN SIEGEL: Dr. Marcus is speaking as a member of the public
right now.
DR. MARCUS: No, I'm not talking about breast-feeding. I'm talking about
holding a patient in the hospital.

1	CHAIRMAN SIEGEL: Yeah, that's right, and you're speaking as a member
2	of the public.
3	(Laughter.)
4	CHAIRMAN SIEGEL: You can't talk about that.
5	MS. DRAGONETTE: This rule is dealing with the licensee, the person
6	who's licensed, what they are allowed to do. And obviously, you know, you can't
7	overrule.
8	MR. CAMPER: The problem is, reduced to the simplest case, all we're
9	saying is there is a 500 limit.
10	MS. DRAGONETTE: And it applies to the nursing infant.
11	MR. CAMPER: It surely does, and that's the problem versus what we had
12	discussed before which was unintended exposure. 2
13	MS. DRAGONETTE: Right.
14	MR. CAMPER: There is in fact times when a physician may decide that
15	he or she is willing to allow that 500 limit to be exceeded, so that poses a problem.
16	MS. DRAGONETTE: Under this rule as proposed, it would pose a
17	problem to release that patient
18	MR. CAMPER: Right. Being simplistic, that's the problem.
19	MS. DRAGONETTE: But, you know, it's hard for me to understand when
20	you would want her to nurse and wipe out the baby's thyroid or something.
21	MR. CAMPER: 500 millirems isn't going to wipe out a thyroid.
22	MS. DRAGONETTE: No, but if you're saying you want to exceed the 500,
23	you didn't say up to any number I mean, you can come in for an exception under a rule,
24	but read it in context, make your comments.

I just wanted to highlight that as a new policy that was asso	ociated with this
proposed rule, but it is limited to release of the patient, not the administrat	ion.
MS. BROWN: Excuse me.	
How long is the likely period of time that we are talking abo	ut that you
would be denying a nursing infant CHAIRMAN SIEGEL: Okay. I-131,	almost any
dose, even the diagnostic dose, breast-feeding's over, end of discussion.	Gallium 67,
thallium 201, breast feeding's over. End of discussion.	
Most technetium radiopharmaceuticals, either no need to s	stop breast-
feeding or stop breast-feeding from somewhere from as little as four hour	s to up to 12
hours. For doses of technetium pertechnetate in the 20 to 25 milli	curie range, you
need to stop for about 24 hours to get to the 100 millirem level, which is w	hat the
Mountford and Copely calculations are based on.	
You really do need to do a table of them.	
MS. DRAGONETTE: Well, we the table excluded the nu	irsing infant and
that pathway. You would have to go you would have to either determine	e if they weren't
going to nurse or, you know, you couldn't use the table. And it's labeled th	nat way. It is
limited to external doses.	
MS. BROWN: The scenarios you're talking about, though,	allow the
mother plenty of time to express milk which every nursing mother knows	all about;
correct?	
CHAIRMAN SIEGEL: Well, yes and no.	
MS. BROWN: Do you have to suspend activity?	
CHAIRMAN SIEGEL: Yes and no. Yes, it does. I mean for	r I-131 it's easy,
you must stop breast-feeding. And, in fact, you must stop breast-feeding	two weeks ago,
	How long is the likely period of time that we are talking above would be denying a nursing infant CHAIRMAN SIEGEL: Okay. I-131, a dose, even the diagnostic dose, breast-feeding's over, end of discussion. thallium 201, breast feeding's over. End of discussion. Most technetium radiopharmaceuticals, either no need to se feeding or stop breast-feeding from somewhere from as little as four hour hours. For doses of technetium pertechnetate in the 20 to 25 million need to stop for about 24 hours to get to the 100 millirem level, which is we Mountford and Copely calculations are based on. You really do need to do a table of them. MS. DRAGONETTE: Well, we the table excluded the nut that pathway. You would have to go you would have to either determine going to nurse or, you know, you couldn't use the table. And it's labeled the limited to external doses. MS. BROWN: The scenarios you're talking about, though, mother plenty of time to express milk which every nursing mother knows correct? CHAIRMAN SIEGEL: Well, yes and no.

1 because otherwise your breast gets a very high dose, not just the infant. There's reason 2 for the patient to stop a long time ago. 3 But it's the patient who shows up for a diagnostic examination with a 4 technetium radiopharmaceutical who you don't know they're breast-feeding until they 5 walk in the door who needs not to breast feed for 12 hours and who I now interpret can 6 not be released from confinement --7 MS. BROWN: But who ordered the test? 8 CHAIRMAN SIEGEL: What? 9 MS. BROWN: Who ordered the test? 10 CHAIRMAN SIEGEL: No, I have two choices. I can send the patient away 11 and tell them come back when you stop breast-feeding, or I can confine them for 12 12 hours. 13 MS. BROWN: Or it seems that if this were more of a generally 14 recognized problem that the referring physician would say, by the way, before you take 15 this test, you can't --16 CHAIRMAN SIEGEL: No, let me --17 MS. DRAGONETTE: The licensee has to make -- under this proposed 18 rule, the licensee would have to make a determination that no individual would get more 19 than 500, including the nursing infant. But that evaluation is made as you release the patient or if it's an 20 21 outpatient, you know, that you could do it. And it could be based on --22 CHAIRMAN SIEGEL: It's not based on --23 MS. DRAGONETTE: -- that the assurance is that she will stop or will stop 24 for 12 hours.

1	And you document that you discussed that with her. And that is part of the
2	assumptions of the dose calculation. That was how we envisioned it working.
3	MS. BROWN: Maybe.
4	CHAIRMAN SIEGEL: Maybe. It works some of the time. it may not work
5	all of the time.
6	I think we'll need to see the language when it hits the street to see how it
7	collides or interacts with the language on pregnancy and breast-feeding generally.
8	MS. DRAGONETTE: Absolutely, you know, comment on the regulatory
9	guide, on the rule itself.
10	CHAIRMAN SIEGEL: We're not reluctant or relicent. MS.
11	DRAGONETTE: I know you're not.
12	CHAIRMAN SIEGEL: Okay, good.
13	Sher, can we do your turns out of order? Can we do the pregnancy and
14	breast-feeding first as long as it's at the top of our minds?
15	DR. BAHADUR: Sure. Okay.
16	Good afternoon, my name is Sher Bahadur. I'm the Chief of the
17	Regulations Development branch. I see a number of new faces I unfortunately do not
18	know, and, of course, I know some people here.
19	My branch is responsible for the two rulemakings for which I'm going to
20	give you the status. These are not new issues as you must have noticed already with
21	the lively discussion that we had on these issues. So I'm going to give you a quick
22	status; however, while giving this status, if you want to discuss some of the underlying
23	parts, perhaps we can talk about that as well.
24	

1 The unplanned radiation exposures to embryo and fetus of the patient. 2 You must have noticed from the last time when we came, the title has changed 3 Previously it included the breast-fed child as well. It doesn't now. And it somewhat. 4 doesn't now because of the rule that Kitty Dragonette has now presented to you, a rule 5 which Dr. Siegel thought is on a collision course with the activity that we are doing. 6 Our feeling is if the doctor knows that the patient is nursing and if a 7 conscious decision has been made, that in spite of the nursing status, the byproduct has 8 to be administered, we want to be out of the loop. However, we want to make sure the 9 doctor is in the loop. The licensee is in the loop. The licensee makes the decision 10 whether the patient needs to stop breast-feeding for a while, stop it altogether, postpone 11 administration, whatever. That's not for us to worry about. 12 However, there is a patient release factor here that Kitty Dragonette just 13 now presented and that presupposes that if radiations to a person other than a patient 14 exceeds more that 500 millirem, then NRC needs to worry about what the public has to 15 say. 16 Now, mind you, while doing so we are already making a 17 giant leap from 100 millirem threshhold, which is for the general public, to a 500 millirem 18 threshhold, which is now to a specialized case provided certain precautions are 19 taken, these precautions being the licensee tells the patient to 20 be careful, make sure the radiations to the other person are as low as reasonably 21 achieved or allowed at this point. 22 And that goes between the 100 millirem and the 500 millirem. More than 23 500 millirem, you just put the patient in your control. 24

1	The debate is whether that is doable or not. I can't discuss that. That is
2	Kitty Dragonette's rule, and she will let you know.
3	What I would like to tell you is the last time that we came, we presented
4	an approach for the unplanned exposure, how to minimize these unplanned exposures.
5	And our approach was we asked the licensee to develop a procedure
6	manual for diagnosis administrations. And, if there is any breakage in that procedure,
7	then it becomes a recordable event.
8	If you record more than a certain number per year or per month, and then
9	it becomes reportable. The Committee commented on that and said this is not right; by
10	doing so we will be creating a great amount of paperwork; we should think of some sort
11	of threshold, a threshold where which we should not be worried about.
12	The Committee also suggested that we should contact NCRP on this
13	threshold issue. So we went back, we contacted Brookhaven National Lab through
14	which we contracted the NCRP.
15	And the NCRP right now is preparing a commentary on this issue. Their
16	commentary is due sometime in June, and as soon as that commentary is published in
17	final, we will be able to finalize our rulemaking.
18	Our current schedule is to send a paper to the EDO by August of 1994.
19	Should I move to the next one, or do you have a question?
20	CHAIRMAN SIEGEL: A question about your slide; the third bullet says that
21	the patient or this rule will result in preventing an unplanned radiation exposure of a
22	breast-fed child.

I read it as preventing any radiation exposure that puts that child in excessof 500 millirems.

1	DR. BAHADUR: Yes, I think that's a very valid point. We meant to have
2	said it would prevent the unplanned exposure as well.
3	CHAIRMAN SIEGEL: Okay.
4	DR. BAHADUR: The second activity is the radiopharmaceutical rule.
5	Before we published the proposal in June of 1993, with a 130-day-comment period, and
6	before the comment period expired in October of 1993, about 284 comment letters were
7	received.
8	Most letters were supportive of the rule; however, they asked questions.
9	They didn't question the rule itself, but some of these statements that we had made,
10	some of the positions we had done, why they were in the rule.
11	Those were kind of a good question in the sense that it allowed us to
12	explain everything a little better, add some verifying documents a little better.
13	So as result, although the final rule remains pretty much the same as the
14	proposal rule was, but we have added certain clarifying statements.
15	For example, under the provisions of research involving human subjects,
16	our previous requirement was that a licensee would obtain the informed consent and
17	would also receive a prior approval from the IRBs.
18	In the final version the requirement remained the same, but we have now
19	added a phrase which states that all this will be done under the compliance of the
20	Federal policy for protection of human subjects.
21	For the grandfathered provisions, the proposal had the provision for
22	commercial nuclear pharmacies, and now we have clarified to indicate that this would
23	also apply to all the qualified individuals who are really working for the hospital-based
24	pharmacies.

1	We were planning on sending this through to the EDO in June of this year.
2	That's next month. But recently the Commission indicated to the EDO they would like to
3	see any rulemaking, along with any associated guidance document with it, rather than to
4	see the rulemaking first and then seeing guidance documents later.
5	So right now we are in the process of looking at the existing guidance
6	documents, seeing whether promulgation of this rule might cause some sort of either
7	conflict or maybe a void, or maybe a duplication, or whatever.
8	And once we have gone through this cross-check, then we plan to send
9	this rulemaking to the Commission, to the EDO in October of 1994.
10	October is a crucial is time, because as you are very well aware, the
11	current rule is only effective until 31st of December 1994.
12	So our intent is to promulgate this rulemaking before the current one runs
13	out. So we're trying our best to get it to the EDO by October of 1994.
14	CHAIRMAN SIEGEL: Questions?
15	(No response.)
16	CHAIRMAN SIEGEL: Thank you, Sher.
17	DR. BAHADUR: Thank you.
18	CHAIRMAN SIEGEL: It seems likely that the patient release criteria rule
19	and the pregnancy/breast- feeding rules will both still be on the street at the time of this
20	Committee's next meeting.
21	And I'd would like to suggest that this Committee formally provide
22	comments under both rules before the next meeting.
23	You actually all have the opportunity to do it as members of the public, but
24	it might be reasonable to get one more status report and to talk about it while you all are

2there.3Okay? Next, Larry?4MR. CAMPER: The abnormal occurrence criteria, I really don't have5much to say other than the fact that you know the status of the Commission paper.6The Commission has reviewed that Commission paper and a Staff7memorandum that advises how to proceed is currently under construction, if you will,8and was not finalized by this meeting so we could talk about it in more detail, but that's9not the case.10So other than the fact that we expect to very shortly receive documents11from the Commission as to how to12proceed, there's really nothing more to say other than it's13late.14CHAIRMAN SIEGEL: Okay. Any other Dr. Almond, you had a comment15you wanted to make of the proposal xxx DR. ALMOND: Well, it's just as good time16to talk about release of patients with radiopharmaceuticals, and it has to do with the17recent statement sent to the states concerning patients who have received Strontium 8918and cremation.19And I'm wondering whether we are going to get any further information on20that or whether you looked surprised.21MR. CAMPER: I'm sorry. Now what is it?22DR. ALMOND: There is I thought it came from the NRC to the states,23and the states have certainly sent it out to their licensees, that any patients who have24received Strontium 89 and who subsequently die shall not be cremated. Now	1	in the process of still ingesting public comments, because it sounds like you'll still be
4       MR. CAMPER: The abnormal occurrence criteria, I really don't have         5       much to say other than the fact that you know the status of the Commission paper.         6       The Commission has reviewed that Commission paper and a Staff         7       memorandum that advises how to proceed is currently under construction, if you will,         8       and was not finalized by this meeting so we could talk about it in more detail, but that's         9       not the case.         10       So other than the fact that we expect to very shortly receive documents         11       from the Commission as to how to         12       proceed, there's really nothing more to say other than it's         13       late.         14       CHAIRMAN SIEGEL: Okay. Any other Dr. Almond, you had a comment         15       you wanted to make of the proposal xxx DR. ALMOND: Well, it's just as good time         16       to talk about release of patients with radiopharmaceuticals, and it has to do with the         17       recent statement sent to the states concerning patients who have received Strontium 89         18       and cremation.         19       And I'm wondering whether we are going to get any further information on         10       that or whether you looked surprised.         21       MR. CAMPER: I'm sorry. Now what is it?         22       DR. A	2	there.
5       much to say other than the fact that you know the status of the Commission paper.         6       The Commission has reviewed that Commission paper and a Staff         7       memorandum that advises how to proceed is currently under construction, if you will,         8       and was not finalized by this meeting so we could talk about it in more detail, but that's         9       not the case.         10       So other than the fact that we expect to very shortly receive documents         11       from the Commission as to how to         12       proceed, there's really nothing more to say other than it's         13       late.         14       CHAIRMAN SIEGEL: Okay. Any other Dr. Almond, you had a comment         15       you wanted to make of the proposal xxx DR. ALMOND: Well, it's just as good time         16       to talk about release of patients with radiopharmaceuticals, and it has to do with the         17       recent statement sent to the states concerning patients who have received Strontium 89         18       and cremation.         19       And I'm wondering whether we are going to get any further information on         10       MR CAMPER: I'm sorry. Now what is it?         22       DR. ALMOND: There is I thought it came from the NRC to the states,         23       and the states have certainly sent it out to their licensees, that any patients who have	3	Okay? Next, Larry?
6       The Commission has reviewed that Commission paper and a Staff         7       memorandum that advises how to proceed is currently under construction, if you will,         8       and was not finalized by this meeting so we could talk about it in more detail, but that's         9       not the case.         10       So other than the fact that we expect to very shortly receive documents         11       from the Commission as to how to         12       proceed, there's really nothing more to say other than it's         13       late.         14       CHAIRMAN SIEGEL: Okay. Any other Dr. Almond, you had a comment         15       you wanted to make of the proposal xxx DR. ALMOND: Well, it's just as good time         16       to talk about release of patients with radiopharmaceuticals, and it has to do with the         17       recent statement sent to the states concerning patients who have received Strontium 89         18       and cremation.         19       And I'm wondering whether we are going to get any further information on         20       MR. CAMPER: I'm sorry. Now what is it?         21       DR. ALMOND: There is I thought it came from the NRC to the states,         23       and the states have certainly sent it out to their licensees, that any patients who have	4	MR. CAMPER: The abnormal occurrence criteria, I really don't have
<ul> <li>memorandum that advises how to proceed is currently under construction, if you will,</li> <li>and was not finalized by this meeting so we could talk about it in more detail, but that's</li> <li>not the case.</li> <li>So other than the fact that we expect to very shortly receive documents</li> <li>from the Commission as to how to</li> <li>proceed, there's really nothing more to say other than it's</li> <li>late.</li> <li>CHAIRMAN SIEGEL: Okay. Any other Dr. Almond, you had a comment</li> <li>you wanted to make of the proposal xxx DR. ALMOND: Well, it's just as good time</li> <li>to talk about release of patients with radiopharmaceuticals, and it has to do with the</li> <li>recent statement sent to the states concerning patients who have received Strontium 89</li> <li>and cremation.</li> <li>And I'm wondering whether we are going to get any further information on</li> <li>that or whether you looked surprised.</li> <li>DR. ALMOND: There is I thought it came from the NRC to the states,</li> <li>and the states have certainly sent it out to their licensees, that any patients who have</li> </ul>	5	much to say other than the fact that you know the status of the Commission paper.
<ul> <li>and was not finalized by this meeting so we could talk about it in more detail, but that's not the case.</li> <li>So other than the fact that we expect to very shortly receive documents from the Commission as to how to</li> <li>proceed, there's really nothing more to say other than it's</li> <li>late.</li> <li>CHAIRMAN SIEGEL: Okay. Any other Dr. Almond, you had a comment you wanted to make of the proposal xxx DR. ALMOND: Well, it's just as good time to talk about release of patients with radiopharmaceuticals, and it has to do with the recent statement sent to the states concerning patients who have received Strontium 89 and cremation.</li> <li>And I'm wondering whether we are going to get any further information on that or whether you looked surprised.</li> <li>MR. CAMPER: I'm sorry. Now what is it?</li> <li>DR. ALMOND: There is I thought it came from the NRC to the states, and the states have certainly sent it out to their licensees, that any patients who have</li> </ul>	6	The Commission has reviewed that Commission paper and a Staff
<ul> <li>not the case.</li> <li>So other than the fact that we expect to very shortly receive documents</li> <li>from the Commission as to how to</li> <li>proceed, there's really nothing more to say other than it's</li> <li>late.</li> <li>CHAIRMAN SIEGEL: Okay. Any other Dr. Almond, you had a comment</li> <li>you wanted to make of the proposal xxx DR. ALMOND: Well, it's just as good time</li> <li>to talk about release of patients with radiopharmaceuticals, and it has to do with the</li> <li>recent statement sent to the states concerning patients who have received Strontium 89</li> <li>and cremation.</li> <li>And I'm wondering whether we are going to get any further information on</li> <li>that or whether you looked surprised.</li> <li>MR. CAMPER: I'm sorry. Now what is it?</li> <li>DR. ALMOND: There is I thought it came from the NRC to the states,</li> <li>and the states have certainly sent it out to their licensees, that any patients who have</li> </ul>	7	memorandum that advises how to proceed is currently under construction, if you will,
10So other than the fact that we expect to very shortly receive documents11from the Commission as to how to12proceed, there's really nothing more to say other than it's13late.14CHAIRMAN SIEGEL: Okay. Any other Dr. Almond, you had a comment15you wanted to make of the proposal xxx DR. ALMOND: Well, it's just as good time16to talk about release of patients with radiopharmaceuticals, and it has to do with the17recent statement sent to the states concerning patients who have received Strontium 8918and cremation.19And I'm wondering whether we are going to get any further information on20that or whether you looked surprised.21MR. CAMPER: I'm sorry. Now what is it?22DR. ALMOND: There is I thought it came from the NRC to the states,23and the states have certainly sent it out to their licensees, that any patients who have	8	and was not finalized by this meeting so we could talk about it in more detail, but that's
<ul> <li>from the Commission as to how to</li> <li>proceed, there's really nothing more to say other than it's</li> <li>late.</li> <li>CHAIRMAN SIEGEL: Okay. Any other Dr. Almond, you had a comment</li> <li>you wanted to make of the proposal xxx DR. ALMOND: Well, it's just as good time</li> <li>to talk about release of patients with radiopharmaceuticals, and it has to do with the</li> <li>recent statement sent to the states concerning patients who have received Strontium 89</li> <li>and cremation.</li> <li>And I'm wondering whether we are going to get any further information on</li> <li>that or whether you looked surprised.</li> <li>MR. CAMPER: I'm sorry. Now what is it?</li> <li>DR. ALMOND: There is I thought it came from the NRC to the states,</li> <li>and the states have certainly sent it out to their licensees, that any patients who have</li> </ul>	9	not the case.
<ul> <li>proceed, there's really nothing more to say other than it's</li> <li>late.</li> <li>CHAIRMAN SIEGEL: Okay. Any other Dr. Almond, you had a comment</li> <li>you wanted to make of the proposal xxx DR. ALMOND: Well, it's just as good time</li> <li>to talk about release of patients with radiopharmaceuticals, and it has to do with the</li> <li>recent statement sent to the states concerning patients who have received Strontium 89</li> <li>and cremation.</li> <li>And I'm wondering whether we are going to get any further information on</li> <li>that or whether you looked surprised.</li> <li>MR. CAMPER: I'm sorry. Now what is it?</li> <li>DR. ALMOND: There is I thought it came from the NRC to the states,</li> <li>and the states have certainly sent it out to their licensees, that any patients who have</li> </ul>	10	So other than the fact that we expect to very shortly receive documents
13       late.         14       CHAIRMAN SIEGEL: Okay. Any other Dr. Almond, you had a comment         15       you wanted to make of the proposal xxx DR. ALMOND: Well, it's just as good time         16       to talk about release of patients with radiopharmaceuticals, and it has to do with the         17       recent statement sent to the states concerning patients who have received Strontium 89         18       and cremation.         19       And I'm wondering whether we are going to get any further information on         20       that or whether you looked surprised.         21       MR. CAMPER: I'm sorry. Now what is it?         22       DR. ALMOND: There is I thought it came from the NRC to the states,         23       and the states have certainly sent it out to their licensees, that any patients who have	11	from the Commission as to how to
14CHAIRMAN SIEGEL: Okay. Any other Dr. Almond, you had a comment15you wanted to make of the proposal xxx DR. ALMOND: Well, it's just as good time16to talk about release of patients with radiopharmaceuticals, and it has to do with the17recent statement sent to the states concerning patients who have received Strontium 8918and cremation.19And I'm wondering whether we are going to get any further information on20that or whether you looked surprised.21MR. CAMPER: I'm sorry. Now what is it?22DR. ALMOND: There is I thought it came from the NRC to the states,23and the states have certainly sent it out to their licensees, that any patients who have	12	proceed, there's really nothing more to say other than it's
<ul> <li>you wanted to make of the proposal xxx DR. ALMOND: Well, it's just as good time</li> <li>to talk about release of patients with radiopharmaceuticals, and it has to do with the</li> <li>recent statement sent to the states concerning patients who have received Strontium 89</li> <li>and cremation.</li> <li>And I'm wondering whether we are going to get any further information on</li> <li>that or whether you looked surprised.</li> <li>MR. CAMPER: I'm sorry. Now what is it?</li> <li>DR. ALMOND: There is I thought it came from the NRC to the states,</li> <li>and the states have certainly sent it out to their licensees, that any patients who have</li> </ul>	13	late.
<ul> <li>to talk about release of patients with radiopharmaceuticals, and it has to do with the</li> <li>recent statement sent to the states concerning patients who have received Strontium 89</li> <li>and cremation.</li> <li>And I'm wondering whether we are going to get any further information on</li> <li>that or whether you looked surprised.</li> <li>MR. CAMPER: I'm sorry. Now what is it?</li> <li>DR. ALMOND: There is I thought it came from the NRC to the states,</li> <li>and the states have certainly sent it out to their licensees, that any patients who have</li> </ul>	14	CHAIRMAN SIEGEL: Okay. Any other Dr. Almond, you had a comment
<ul> <li>recent statement sent to the states concerning patients who have received Strontium 89</li> <li>and cremation.</li> <li>And I'm wondering whether we are going to get any further information on</li> <li>that or whether you looked surprised.</li> <li>MR. CAMPER: I'm sorry. Now what is it?</li> <li>DR. ALMOND: There is I thought it came from the NRC to the states,</li> <li>and the states have certainly sent it out to their licensees, that any patients who have</li> </ul>	15	you wanted to make of the proposal xxx DR. ALMOND: Well, it's just as good time
<ul> <li>and cremation.</li> <li>And I'm wondering whether we are going to get any further information on</li> <li>that or whether you looked surprised.</li> <li>MR. CAMPER: I'm sorry. Now what is it?</li> <li>DR. ALMOND: There is I thought it came from the NRC to the states,</li> <li>and the states have certainly sent it out to their licensees, that any patients who have</li> </ul>	16	to talk about release of patients with radiopharmaceuticals, and it has to do with the
19And I'm wondering whether we are going to get any further information on20that or whether you looked surprised.21MR. CAMPER: I'm sorry. Now what is it?22DR. ALMOND: There is I thought it came from the NRC to the states,23and the states have certainly sent it out to their licensees, that any patients who have	17	recent statement sent to the states concerning patients who have received Strontium 89
<ul> <li>that or whether you looked surprised.</li> <li>MR. CAMPER: I'm sorry. Now what is it?</li> <li>DR. ALMOND: There is I thought it came from the NRC to the states,</li> <li>and the states have certainly sent it out to their licensees, that any patients who have</li> </ul>	18	and cremation.
<ul> <li>MR. CAMPER: I'm sorry. Now what is it?</li> <li>DR. ALMOND: There is I thought it came from the NRC to the states,</li> <li>and the states have certainly sent it out to their licensees, that any patients who have</li> </ul>	19	And I'm wondering whether we are going to get any further information on
DR. ALMOND: There is I thought it came from the NRC to the states, and the states have certainly sent it out to their licensees, that any patients who have	20	that or whether you looked surprised.
23 and the states have certainly sent it out to their licensees, that any patients who have	21	MR. CAMPER: I'm sorry. Now what is it?
	22	DR. ALMOND: There is I thought it came from the NRC to the states,
received Strontium 89 and who subsequently die shall not be cremated. Now	23	and the states have partainly part it out to their licensees, that any nationts who have
		and the states have centainly sent it out to their licensees, that any patients who have

1	I'll be glad to send you this information.
2	Obviously I think further guidelines needs to be given on this.
3	MR. CAMPER: Well, we really would like to see what you are talking
4	about. We are currently working on an information notice that deals with issues
5	associated with beta-emitting radiopharamceuticals.
6	And this ranges from measuring them up to and including managing the
7	treated patients and some of these issues, cremation and the like, but that is still under
8	in draft. It hasn't been
9	DR. ALMOND: Well, certainly this study and its interpreters have so
10	informed the licensees this is enforceable request, anyhow. These are generally out-
11	patients who come in and go off and you don't where you can inform the patient and the
12	family that they should not be cremated. But whether they will follow that or not, you have
13	no way of interpreting.
14	CHAIRMAN SIEGEL: The patients will certainly get a kick out of that.
15	DR. GLENN: We're aware that some guidance has gone out that has
16	been issued by the American Crematorium Association. It may be an industry
17	description rather than a regulatory one.
18	DR. ALMOND: I'll be glad to send you the information on it.
19	DR. MARCUS: May I comment?
20	CHAIRMAN SIEGEL: Yes.
21	DR. MARCUS: I do know that an inspector in Region 5 so informed the
22	crematorium that if they intended to cremate this patient when they've been given
23	Strontium 89,
24	they were going to have to decontaminate the entire facility.

1	And when he estimated what it would cost, they decided that they were not going
2	to take the business. That is the only NRC standard that I have seen on it. And I had a patient
3	die with Strontium 89 in her. We talked to her son just to make sure that she was being buried
4	and didn't really go into details with him. But I have seen no data showing how much Strontium
5	89 is volatile versus what it took in the rule, what sort of program this dose is going to be.
6	There's got to be some science.
7	DR. ALMOND: I understand, but somehow or other, you know, there's
8	information now that's gotten to lead to the regulatory channel certainly in our state regarding the
9	licensees dealing with patients with Strontium 89. And I will be glad to send you the information.
10	DR. MARCUS: Would you sent me one, too? I want to see it because we
11	haven't gotten directives like that.
12	DR. ALMOND: Certainly. If you haven't gotten it, then okay.
13	CHAIRMAN SIEGEL: Haven't you been measuring their water supply of Strontium
14	to see if that's a problem?
15	(Laughter.)
16	DR. GLENN: Well, I will mention that in preparation for the information notice, we
17	have been trying to get information on those parameters and what the exposures would likely be.
18	And the information that we've gotten so far is that there isn't much danger.
19	I think the only unanswered question that we had the last time we discussed with
20	the project manager was I think the studies were done in England.
21	They did not include the embalming fluids, so we were trying to find out the dose
22	was in the embalming fluids.
23	DR. ALMOND: Well, the NCRP has statements about embalming situations of
24	patients with radioactive materials. I have no difficulty with that. It's just that all of a sudden there

1	is you can't c	remate these patients. And it seem to me after several months it's not going to
2	make any differ	rence anyhow, but not even that subject is addressed.
3	(	CHAIRMAN SIEGEL: I'll have to send you the information. That's an interesting
4	problem.	
5	I	DR. ALMOND: Well, it may be something then that you're going to have to look at
6	if this information	on is now out, and goodness knows where it, you know, I'll find out where it came
7	from.	
8	(	CHAIRMAN SIEGEL: It sounds like that's a more likely Meshach's problem.
9	(	(Laughter.)
10	I	DR. ALMOND: But the state regulation branch sent it to us, so it's
11	(	CHAIRMAN SIEGEL: That sounds more likely to be likely to be a Meshach's
12	problem?	
13	(	(Laughter.)
14	(	CHAIRMAN SIEGEL: You don't like that, Carol?
15	I	DR. MARCUS: No.
16	(	CHAIRMAN SIEGEL: Surely you know people gain more than ten millirems per
17	year from the cremations of patients who've been given Strontium 89.	
18	(	(Laughter.)
19	(	CHAIRMAN SIEGEL: Oh, my god, I don't know what led me to choose this
20	specialty	
21	I	DR. MARCUS: But when they put it in the same category as iodine, you never
22	know.	
23	(	CHAIRMAN SIEGEL: Now, what I want to know is what led me to choose this
24	specialty	

1	DR. MARCUS: Exactly.
2	CHAIRMAN SIEGEL: what possibly led me to do that when I could have been a
3	lawyer instead.
4	DR. MARCUS: You are a lawyer, that's what's the problem.
5	CHAIRMAN SIEGEL: We are adjourned officially from the public meeting. We
6	now have a closed session to discuss training and experience requirements. All non-NRC
7	employees may leave the room.
8	(Whereupon, at 4:20 p.m., the public meeting was adjourned to reconvene in
9	closed session.)
10	
11	
12	
13	
14	
15	
16	
17	
18	
19	
20	
21	
22	
23	
24	
-	