

UNITED STATES OF AMERICA

+ + + + +

FEDERAL COMMUNICATIONS COMMISSION

+ + + + +

INTERFERENCE PROTECTION

PUBLIC WORKSHOP

+ + + + +

FRIDAY,
AUGUST 2, 2002

+ + + + +

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

I N D E X

Introduction..... 3

Spectrum Policy Task Force Overview - Paul
 Kolodzy, Senior Spectrum Policy
 Adviser, Office of Engineering Technology,
 FCC 3

Panel I: Interference Challenges
 Moderators: Mr. Dale Hatfield,
 Independent Consultant and Keith Larson,
 Chief Engineer, Media Bureau, FCC 7

Panel II: Advanced Technology
 Moderators: Brian Woerner, Professor,
 Bradley Department of Electrical
 Engineering, Virginia Tech University and
 Ronald Repasi, Assistant Chief for
 Engineering, Policy Division,
 International Bureau, FCC 79

Panel III: A Better Process
 Moderators: Charles Jackson, Jackson
 Telecommunications Consulting and
 Thomas Stanley, Chief Engineer, Wireless
 Telecommunications Bureau, FCC 137

Adjourn..... 204

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22

P-R-O-C-E-E-D-I-N-G-S

(9:09 a.m.)

MS. VAN WAZER: My name is Lauren Van Wazer and I'm Deputy on the Spectrum Policy Task Force. I'd like to welcome you to the second in a series of four workshops addressing spectrum policy issues.

This workshop will address interference protection. I'd like to say that we're providing sign language interpretive services. If there's anyone who would like such services, please identify yourselves.

(Pause.)

With that, I'd like to introduce Dr. Paul Kolodzy, Director of the Spectrum Policy Task Force.

DR. KOLODZY: Good morning, and welcome everybody to our second of four workshops that the Spectrum Policy Task Force is running on our investigation of new ideas and concepts for looking to the future for spectrum policy.

Yesterday, we had a wonderful workshop

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on license spectrum and experimental licenses and
2 we had a lot of interaction between the audience
3 and the panelists and I'm looking forward to that
4 same kind of interaction today. In fact, I think
5 they set the bar fairly high for this panel to try
6 to reach to try to maintain this type of
7 interaction. I think those kind of interactions
8 provide us better insight into issues and ideas
9 that are out there in the community that we might
10 be able to draw upon on some of our thought
11 processes.

12 Let's put the first slide up. Whoops.
13 Looks like you don't have my briefing slides.

14 Let me just do it extemporaneously.
15 First of all, the Spectrum Task Force, this is the
16 second out of four workshops. The first workshop
17 again, like I said, yesterday, was on license and
18 experimental. Today is on interference, a very
19 interesting and very important topic. In fact, if
20 you look at most spectrum issues that come up
21 within the Commission and industry, it all boils
22 down to a lot of interference and the issues

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 associated with how to define it, how to determine
2 if somebody has been harmfully interfered with or
3 not and how to prevent it. So this group will try
4 to actually address many of those issues.

5 We'll have a workshop again on Monday,
6 the Monday workshop will be on spectrum efficiency
7 and ideas of how to actually get more efficient use
8 of the spectrum and what kind of ideas and policies
9 that might want to be looked at for new efficient
10 methods of using the spectrum.

11 And the final workshop will be on
12 August 9th, Friday, and that will be looking at
13 spectrum rights and responsibilities and that will
14 actually take a look at what kind of models and
15 what kind of ideas you look at in a sense of how to
16 define rights and responsibilities for spectrum
17 users.

18 The reason this task force was put
19 together is first of all, it was started by
20 Chairman Powell, announced in June, and basically
21 it was trying to look at how to look across the
22 entire spectrum and ask the question are there

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 better ideas to take us into the realities of the
2 21st century. And we have tried to look not across
3 just a single domain, but actually, we try to look
4 across all the uses. And so therefore, I think you
5 see in the panels you see today and from yesterday
6 and the future, we have all the different uses and
7 users and representatives from those groups here to
8 discuss these important topics.

9 The task force is organized with myself
10 and Lauren Van Wazer as my Deputy. Special Counsel
11 is Maureen McLaughlin and Senior Technical Advisor
12 is Mike Marcus. The Task Force Council is made up
13 of senior folks across the bureaus that deal with
14 spectrum policy and management issues from the
15 International Bureau, from the Wireless
16 Telecommunications Bureau, and from the Media
17 Bureau. Also, the Offices of Plans and Policy and
18 the Office of Engineering and Technology are also
19 represented. So therefore, we have a very, very
20 diverse group. And in fact, you're going to see
21 today that our panel co-moderators are also one
22 from each of those organizations, so you can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 actually see they're represented quite well today.

2 The focus of today's meeting again is
3 on interference and what I'd like to do is welcome
4 everybody here and try to actually promote
5 interaction. And I'm going to continue to say that
6 and if I don't see interaction, I'm going to try to
7 promote it myself from the sideline.

8 What I'd like to do now is introduce a
9 lot of the moderators and co-moderators today.
10 First, I'd like to introduce Dale Hatfield. He's
11 now a private consultant, but I think that most
12 everybody here knows of his background, both in
13 industry, academia, as well as government and both
14 being at NTIA and being the Chief Engineer and head
15 of OET here prior to last year, I believe. He is
16 co-moderator -- his co-moderator is Keith Larson
17 who is the Chief Engineer of the Media Bureau. And
18 he will be co-moderating this first panel.

19 The second panel will be co-moderated
20 by Mr. Brian Woerner and he is from Virginia Tech
21 and his co-moderator will be Ron Repasi who is the
22 Assistant Chief of Engineering in the International

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Bureau.

2 And this afternoon, our final panel
3 will have Charles Jackson, Chuck Jackson from
4 Jackson Telecommunications Consulting and his co-
5 moderator within the FCC will be Tom Stanley who is
6 the Chief Engineer of the Wireless
7 Telecommunications Bureau. So you can see a lot of
8 technologists here trying to actually talk about a
9 very interesting and very contentious topic which
10 is interference protection.

11 And with that, I don't want to hold up
12 this group any longer. What I'd like to do is hand
13 over the microphone to Dale Hatfield, because he
14 has some introductory remarks to try to put some
15 context around this workshop today.

16 Thank you.

17 MR. HATFIELD: Thank you very much,
18 Paul. It's really nice to be back here at the
19 Commission. I really appreciate your inviting me
20 to co-moderate the panel today and I also, of
21 course, want to add my thanks to the panelists for
22 coming here and helping us out.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I honestly and sincerely believe that
2 this panel topic is probably the most important of
3 all because it underlies everything else. It's
4 very clear that if we're going to accommodate
5 millions of new devices, new systems and so forth,
6 that we're going to all of us have to cope with
7 additional levels of interference and that just
8 seems to be a given. And how we define, how do we
9 live with this increased interference and it seems
10 to me the devil is in the details. It's easy and
11 I've done this, I'm guilty of this as saying well,
12 gosh, the secondary market would work a lot better
13 if we have a more clearly defined set of rights and
14 everybody can nod and say yes, that's certainly
15 true and I'll invest more if I have a clear defined
16 set of rights and so forth. Here again, that's
17 absolutely true, but where it gets difficult and
18 that's where economists tend to look at us
19 engineers and say, okay, define those rights. As
20 my good friend and colleague here, Bruce Franca
21 says, you know, that's the hard part. That's the
22 hard work.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I hope we'll address that issue today, how do you
2 get more specific?

3 Clearly, I won't invest in my house if
4 the state can come in and seize the property any
5 time it wants to. I won't invest in my house if
6 somebody can come in and take over a bedroom and
7 not pay rent and so forth. So clearly, there's
8 economic incentives that depend upon the rights
9 that I have. I won't invest in new spectral
10 efficient technology if the benefits of my
11 investment then accrue to someone else probably.

12 These are all things that go what, go
13 back to that defining that spectrum protection that
14 I have, what rights I have. And as I said before,
15 I won't buy and sell on a secondary market unless I
16 have a pretty good idea of what I'm buying and what
17 I'm giving up when I sell. Here again, coming back
18 to the importance of getting these rights defined
19 properly.

20 I've been thinking about this. In
21 fact, I commented here before that one of the
22 troubles of being an old man is it's difficult to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 think of something new to say that I haven't said
2 before, but let me say it anyway because I've come
3 -- after I was here at the Commission again for
4 three years, I've really come to believe that we
5 have to think a little bit more about the receiver
6 side. The longer I was here, it's kind of not a
7 transmitter problem, it's really -- the things that
8 held us up, the things that I held dear that I was
9 trying to push here, generally speaking, that I
10 thought were good policy, were held up, what,
11 because of receiver problems. So I think
12 reluctantly, in my mind, I think we have to come
13 around and think more about the receiver side. In
14 other words, two things. On the transmitter side,
15 I'm saying the obvious and on the transmitter side,
16 how much interference I'm allowed to produce, but
17 on the receiver side how much interference am I
18 obligated to be able to absorb?

19 Coming at it sort of from a different
20 standpoint, I sort of look at trying to solve the
21 spectrum problem, the congestion problem in sort of
22 four ways. We have four alternatives, if you will.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 One is reallocation. The second is more efficient
2 use of the spectrum. The third is more sharing and
3 the fourth is Mike Marcus' favorite and that's to
4 go up higher in frequency. And I think as a
5 society, we're going to have to use all four
6 approaches. And spectrum, the interference
7 protection applies as a role in all of those, but
8 it's particularly important in the sharing area and
9 when we talk about sharing I sort of divide the
10 sharing ideas into three parts. First is,
11 voluntary sharing. That's where I come to my
12 Keith. He owns some spectrum and I say Keith, you
13 know, here's this super new software-defined radio
14 that tunes for light and I'm going to be able to
15 operate at a power. I know where I am, I know
16 where you are. I'm not going to cause you
17 interference and you say gee, that sounds like a
18 great idea. Give me \$10 million and I'll be glad
19 to share with you. And that -- okay, that's a
20 voluntary sort of sharing. But here again, as I
21 said before, I probably sound like a broken record,
22 that depends upon us being able to negotiate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 something in terms of what rights, what my rights
2 are and what his rights are and our corresponding
3 obligations.

4 The other is, of course, involuntary
5 sharing and that's where it really gets sticky is
6 when I paid for spectrum at an auction here, what
7 bundle of rights were conveyed to me and then later
8 on, the Commission says oh Dale, by the way, even
9 though you paid for it, we want you to share with
10 somebody else. Here again, it comes back to that
11 set of rights, what rights were conveyed to me and
12 how do we go about distributing. In other words,
13 if I've got four dB of extra margin, and the
14 Commission says okay, you've got to give two dB of
15 that margin to fit in somebody else. Here again,
16 what are the rights involved? What is the
17 interference protection that I'm entitled to. And
18 of course, the sort of third way of sharing here is
19 I don't have a good name for it, but it's the --
20 it's sort of the de minimis sort of sharing saying
21 that I'm going to operate devices like Part 15
22 devices that are at such low power that they won't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cause interference. Sort of using my property
2 analogy, you know, the airplane is at 50,000 feet
3 flying over -- it's flying over my property, but
4 it's not bothering me. Or, in Colorado, where we
5 come from we sell mineral rights. Mineral rights
6 are conveyed separately from the property rights,
7 so I don't own the mineral rights where my house
8 sits on and you know, somebody could be mining coal
9 underneath my house 300 or 400 feet down and it
10 wouldn't bother me, and so that probably is not
11 infringing on my ability to enjoy my property on
12 the surface.

13 Well, I think I've droned on long
14 enough, but what I think -- one of the points I was
15 trying to make is that these interference rights,
16 how you define it, how you deal with it and so
17 forth, it's just critical, no matter whether you're
18 sort of
19 market-oriented in your approach to spectrum
20 management or you think what we need to do is a
21 better job of engineering using traditional methods
22 or whatever.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Thank you.

2 MR. LARSON: Thanks, Dale, for giving
3 us a clear perspective here on what we're going to
4 talk about today. Good morning, ladies and
5 gentlemen. I'm Keith Larson and I too, have a few
6 opening remarks.

7 I'm privileged to lead the Task Force's
8 Interference Working Group. This is a multi-
9 bureau, multi-disciplinary group of hard-working
10 men and women. We have some engineers. We have
11 some lawyers and economists, at least one
12 economist. There are some of us who have been
13 around the Commission quite a while and seen a lot
14 of things happen and I'm pleased to say we have
15 some very bright younger people as well, the future
16 engineering brain trusts of the Commission and I
17 think it's good to get them involved right away in
18 some of these difficult issues.

19 I was looking around the room here. I
20 think this is a historic occasion. In the
21 building, not in the room, but in the building, I
22 believe we have as many as five individuals who at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 one time or another have run the Commission's
2 Office of Engineering and Technology. Now that's
3 historic. For engineers at the Commission, that's
4 kind of like when all -- ah, we have another one.
5 That's kind of like
6 -- that's kind of like when all the former
7 Presidents get together for an occasion for a photo
8 op. Where's my camera? But will all of you in the
9 room who are either a current Chief Engineer, Ed
10 Thomas or former Chiefs, raise your hands. Okay.
11 Not me. Great. Thank you.

12 All right, the word interference came
13 up quite a bit in yesterday's unlicensed and
14 experimental workshop. And interference is all
15 we're going to talk about today. It's a
16 complicated thing. On the one hand, unwanted
17 interference is something that nobody likes. It
18 sometimes can be a nuisance. Other times it can be
19 terribly economically destructive and even life
20 threatening. Yet, interference is a hard thing to
21 get your arms around because of its many variables.
22 Several of these were talked about in one of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 yesterday's sessions. There's the dimensions of
2 time, space, geography, coding in a digital
3 environment and I would add things like frequency,
4 receiver performance, transmitter power and height,
5 wave form, the effects of multiple emitters, the
6 compounding effects of noise, weather and our
7 atmosphere. And as the result of increasingly
8 sophisticated transmitter and receiver technology,
9 with the ability to detect and adjust for signal
10 degradation, I think interference management is
11 also going to increasingly have an economic
12 dimension, a balancing if you will, of technical
13 and economic factors.

14 Interference can be an elusive thing to
15 its victims who may realize that something isn't
16 quite right, but don't know what's going on. Let
17 me illustrate here. As a kid growing up in
18 northern Minnesota back in the 1950s and 1960s, we
19 got our first TV set, I think in 1956, a black and
20 white set. And the station we watched was about
21 100 miles away. And the picture was always snowy.
22 Okay? And so we cultivated the fine art of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 picking the people out of the snow back in those
2 days. However, sometimes there was more snow on
3 the screen than on the ground in the Minnesota
4 winter and so we got out the playing cards. The
5 point of all of this is that we were content with
6 just getting a passable picture, the only kind of
7 picture we'd ever known. When things got really
8 bad, we didn't know what was going on. We
9 suspected it had something to do with the great
10 distance to the TV station, but we didn't know. We
11 don't know whether my Dad got stuck with a lemon
12 TV, whether the weather was the culprit or whether
13 some kind of an interference was the problem like
14 our next door neighbor running the vacuum cleaner
15 or something. And like many other people, we never
16 complained about it. We just lived with it.

17 I think those days are long gone.
18 People now have access to much more reliable
19 communications services, high technical quality
20 services. I think folks are probably less tolerate
21 of signal degradation and outages. Interference is
22 very serious business.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Moreover, the Communications Act
2 directs the Commission as the public interest
3 requires, to make regulations that it deems
4 necessary to prevent interference between stations.

5 Historically, various approaches for
6 dealing with interference have evolved for each of
7 the many Commission radio services, typically based
8 on the expected use and technical characteristics
9 of the time the services were created.

10 When I joined the Commission a while
11 back, I think there was something like 70 different
12 radio services and they all had their own
13 interference characteristics. And now, of course,
14 there are even more services. Some of the
15 approaches that are involved and our working group,
16 the first thing they did was to go through the
17 rules, canvas the rules and kind of create a matrix
18 of all of the interference approaches that are used
19 for the different services.

20 Common approaches involve limits on
21 transmitter power and out of band emissions, but
22 there are a whole bunch of other things. There are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 signal strength limits that service area
2 boundaries, distance separates between stations;
3 prescribed minimum desired/undesired signal
4 strength or carrier interference ratios.
5 Negotiated interference agreements are often relied
6 upon as is industry frequency coordination.

7 I would also point out that
8 interference is going to continue to be serious
9 business here at the Commission. The Commissions
10 draft strategic plan for the Years 2003 to 2008
11 include as a spectrum policy objective, the
12 vigorous protection against harmful interference.

13 The panels in today's workshop are
14 designed to explore different aspects of what we
15 generically refer to as interference management.
16 The panel here this morning will probe for problems
17 with current approaches and generally consider how
18 the Commission should deal with future challenges,
19 the kind of challenges that are presented by
20 Moore's Law and the rapidly changing world of
21 diverse and highly dense emitters.

22 The second panel this morning is going

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to focus on the extent to which we might get some
2 relief from advanced technologies. And the
3 afternoon is going to look at other ways that the
4 Commission can better manage interference,
5 recognizing that interference impact affects not
6 only spectrum policy decisions at the Commission,
7 but also the Commission's licensing and enforcement
8 activities.

9 So I would encourage you all to stay
10 for all three panels.

11 The format this morning and for the
12 other panels is going to be entirely interactive.
13 A moderator will ask the panelists to respond to
14 one or two questions in a topic area and following
15 that, the audience will have an opportunity to ask
16 questions or otherwise join the discussion, after
17 which we'll move on to another line of questions.
18 And as Paul mentioned, we encourage and we expect a
19 lively and robust discussion on these issues.

20 Now let's meet our distinguished
21 panelists. On my far left we have Andrew Clegg.
22 Andrew is from Cingular Wireless. He's the lead

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 member of the technical staff there. And I guess,
2 Andrew, you're kind of representing the wireless
3 industry on the cell side.

4 Next to Andrew we have Rebecca
5 Cowen-Hirsch from the Department of Defense.

6 Next to Rebecca, we have Glen Nash who
7 is the President of APCO International, the public
8 safety group. He speaks for the public safety
9 issues.

10 Then over to Dale's right is Rob
11 Briskman who is with Sirius Radio a digital
12 satellite radio service and Rob has satellite
13 background here and he's going to be representing
14 the satellite industry.

15 Then we have Paul Steffes from Georgia
16 Tech University. He's a Professor there. And he
17 was the, I believe, Paul, if I'm not mistaken, you
18 were the past chair of the Committee on Radio
19 Frequencies. Right. He represented radio
20 astronomy interests there in that former capacity.

21 And then on Paul's right we have Larry
22 Miller who is the President of the Land Mobile

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Communications Council. Larry is also the
2 Frequency Coordination Manager for the American
3 Association of State Highway and Transportation
4 Officials.

5 On Larry's right is Lynn Claudy. Lynn
6 is the Senior Vice President of Science and
7 Technology at the National Association of
8 Broadcasters. And Lynn represents the interests of
9 radio and television broadcasters in this country.

10 All right, panelists, ready to rumble
11 here? Before looking at the future challenges of
12 the Commission here involving interference
13 management, I'd like just to start with the
14 present. From your point of view, are there
15 spectrum uses or users for which the Commission's
16 current interference management approaches are
17 either working relatively well, in fact, or are
18 there are others for which the interference rules
19 and processes are either not working at all or are
20 being overly stressed by user demands?

21 Let's start with you, Glen, on that.
22 How is it going on over there in the public safety

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 world?

2 DR. STEFFES: In general, it's going
3 fairly well. The interference rules really require
4 cooperation amongst the parties to get together and
5 agree to work out their problems. We have a
6 frequency coordination process that emphasizes
7 minimizing the potential for interference and for
8 public safety, it really is critical that we not
9 have interference situations.

10 Having said that, we currently do have
11 a very serious interference problem at the 800
12 megahertz band that arose out of a well intentioned
13 Commission action in the early 1980s to interweave
14 the spectrum and have various groups trying to
15 share the spectrum that did result in some problems
16 with frequency coordination, that has led to these
17 interference problems that we're experiencing. So
18 I think to the extent that we are able to utilize
19 the frequency coordination process to take a look
20 at what people are doing, you have the cooperation
21 of the community, (a) to provide systems that cover
22 their jurisdiction without reaching far beyond that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and yet do provide coverage for their own
2 jurisdiction.

3 We really don't have a problem. Where
4 we've gotten into trouble is when people don't want
5 to play the game.

6 MR. LARSON: Thank you. Andrew the
7 same question from your perspective.

8 DR. CLEGG: From our perspective, being
9 in the mobile, wireless mobile industry, I think
10 I'd like to start with an example of where I think
11 things worked pretty well because it might help in
12 modeling how things are done in the future. And
13 that is the PCS spectrum and the technical rules
14 that were adopted on the PCS spectrum.

15 Back in the 1994 time frame when that
16 spectrum was just being built out after the
17 auction, it was recognized that the Commission had
18 a rational clearing policy in place for that band
19 and that band would basically be cleared by a
20 relatively certain date and at a cost that was
21 relatively straightforward for the operators to
22 calculate. So the fact that we needed the spectrum

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was going to be cleared or could be cleared worked
2 in the favor of the PCS band.

3 The Commission also subsequently, for
4 the service rules and the PCS band, issued
5 relatively flexible technical requirements. There
6 were very few technical requirements levied upon
7 the PCS operators. There were EIRP limits. There
8 were 47 dB microvolts per meter field strength
9 limits at the boundary and there was the meg 13 dBm
10 per megahertz out of band emission limits. And
11 that right there pretty much sums the total
12 technical constraints on the PCS operators. Within
13 those constraints they were allowed to deploy any
14 technology they wanted to on the PCS block and that
15 flexible use of the spectrum, I think, worked out
16 quite well in the band and the industry came
17 together and basically worked quite well on the PCS
18 band.

19 So I think the way the PCS spectrum was
20 allocated, a fair amount of spectrum with a good
21 clearing policy and then rules that allowed for
22 fairly flexible use within that band, I think that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was an example, interference-wise of where the
2 Commission's process has worked well.

3 MR. LARSON: Okay, Andrew, if you would
4 receive any interference other than internal
5 interference where would that likely come from?

6 DR. CLEGG: Most of the interference
7 that was not caused by our own system occurs at our
8 geographic boundary where we have to coordinate
9 with the co-block operator in the adjacent
10 geographic boundary and there were industry groups
11 like the National Spectrum Managers Association
12 that addressed coordination procedures for
13 coordinating frequencies at the geographic
14 boundaries and also, frankly, like we do on our
15 cellular operations, a lot of the frequency
16 coordination is done fairly informally. Our
17 engineers know the engineers from other companies
18 and where our systems come together, if there's a
19 problem, one of our engineers calls up one of their
20 engineers and says hey, your choice of frequencies
21 on this cell aren't quite compatible with ours,
22 let's shift them around a little bit.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So it was done on a fairly informal
2 basis as it was in the cellular band. So that's
3 the extent of most of the interference problems
4 we've had in the PCS band. I think it was a good
5 model.

6 MR. LARSON: So would you say the
7 coordination process there is working pretty well?

8 DR. CLEGG: It was. I think a
9 combination of having an industry group to address
10 whatever coordination procedures should be in place
11 and also just the informal work between the
12 companies, I think it worked pretty well in that
13 case.

14 MR. LARSON: Okay, thank you. Lynn
15 Claudy, turning to you, from the broadcaster's
16 point of view, you've taken some spectrum hits here
17 in both the UHF TV band. The Commission just
18 reallocated channels 52 to 59 for new emerging uses
19 and earlier the channel 60 to 69 bands were
20 reallocated to public safety and other new
21 commercial services. And you've also taken, I
22 think, a 30 percent or so spectrum hit over in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 2 gigahertz band involving the electronic news
2 gathering frequencies that are used by
3 broadcasters.

4 In addition, the Commission is rolling
5 out the digital television service, I think,
6 something like 500 stations now on the air and in
7 the process of accommodating all of the
8 broadcasters with a second channel during the DTV
9 transition for digital. The Commission created a
10 concept of a de minimis interference where a DTV
11 broadcaster is permitted to cause a certain amount
12 of interference to analog, existing analog
13 television.

14 In view of all of that, how are things
15 going in the broadcast industry and what are your
16 concerns?

17 (Laughter.)

18 MR. CLAUDY: Well, there's a great
19 lurid history of broadcasting and service
20 allocations in the Commission and since
21 broadcasting has been around for so long since
22 wireless services were available, I think every

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 technique in interference management has
2 -- there is some example of that in broadcasting.
3 So as a historical example, one can study
4 broadcasting and become quite a student of spectrum
5 management generally.

6 The biggest issue in broadcasting now
7 is clearly the transition into digital services.
8 Of course, that's midway for television and
9 impending for radio. I think the Commission really
10 did go a long way in the digital television service
11 to develop new techniques, new ways of thinking
12 about service and interference, especially in the
13 modeling area. And that has really pushed the
14 frontiers forward for what was an old service into
15 the new technology era.

16 Now, the challenge will be that we will
17 find out, as one always finds out with models, they
18 have their limitations, they weren't exactly
19 perfect. We didn't design an interference free
20 service area. We do have areas of de minimis
21 interference in some areas where it will be more
22 than de minimis. So interference is going to be a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fact of life as we move to the implementation phase
2 or further into the implementation phase.

3 And I think the challenge for the
4 Commission there is how to adapt to that, to take
5 the specific instances of interference and in some
6 cases harmful and egregious cases and being able to
7 work with the parties to provide the enforcement
8 function that the Commission has with a degree of
9 precision and timeliness and I think this is where
10 the rubber meets the road as we go from what we
11 figured out what the channels are and we know what
12 the bandwidth concerns are and the interference
13 concerns, but bringing that into the practical
14 world and letting the parties thrive in the
15 commercial world is going to be a big challenge for
16 the future Commission.

17 MR. LARSON: Thank you. I'm not aware
18 of a whole lot of interference problems that we've
19 had so far with the roll out of DTV. There have
20 been some and to my knowledge, in most of these
21 cases anyway, the broadcasters have been working
22 with each other to try to work out the problems.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Is that being your sense as well?

2 MR. CLAUDY: I think it's a dance
3 that's just -- where the music is just starting to
4 play. I'm not saying there's going to be a huge
5 problem, but in the cases where that does occur and
6 it will occur also in radio and as more -- it's not
7 just within the broadcast band, but as new entrants
8 come into the band, and we have more mobile
9 transmitters and the emergency, if unlicensed
10 devices proliferate more and trying to figure out
11 the cumulative effects of all that kind of
12 interference, especially with a new service in
13 broadcasting coming in, the interlinking of all of
14 that, I think will evidence itself in a myriad of
15 ways. So it's not just a digital broadcaster is
16 hurting some existing analog broadcaster or vice
17 versa.

18 MR. LARSON: Okay. How are things
19 going in your part of the world, Larry, as far as
20 problems are going, as far as interference is
21 concerned?

22 MR. MILLER: Well, my part of the world

1 is the same world as Glen lives in down there.
2 We're actually a public safety frequency
3 coordinator and when we talk about interference, I
4 think there's a big misconception on the part of
5 the users as to what harmful interference is as
6 opposed to nuisance interference. And sometimes we
7 get complaints and the guide essentially says hey,
8 I'm hearing a guy of my channel and once I read the
9 rules to him, how the applicants and licensees are
10 required to cooperate and make adjustments,
11 etcetera, and 90 percent of the time, once they
12 realize that, they are about to work with the other
13 parties, reducing antenna heights, transmitter
14 power. Sometimes, you even have to take somewhat
15 extreme measures of using directional antennas.
16 Obviously, tune the squelch on the receivers and
17 things like that. And for the most part that
18 solves a vast majority of the problems.

19 Now when you reach a situation where
20 that you can't quite educate the people as to the
21 fact that they do have to share and cooperate,
22 that's probably where we would like a little bit of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a stronger hand from the Commission. We would like
2 to be able to just refer that to the Commission and
3 say we've done all we can and then if the
4 Commission were to issue a letter to the
5 complainant stating this is what you really need to
6 do, I think that would probably make a happy ending
7 to most of these complaints.

8 MR. LARSON: So far things, I think,
9 sound like they're going pretty well. Certainly,
10 there must be some major problems here that we have
11 yet to uncover.

12 Any of the other panelists want to jump
13 in at this point and discuss that, that issue?

14 DR. STEFFES: I think a lot of us are
15 afraid of the future as much as we are of the
16 present.

17 MR. LARSON: Uh-huh.

18 DR. STEFFES: Just because we know the
19 rate of growth is so significant that the minimal
20 pressures now will become major pressures within
21 the next four years.

22 I represent, of course, and again I'll

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 mention my comments are my own personal comments
2 and not those of the National Academy of Sciences
3 of the Committee on Radio Frequencies. But I will
4 say that we have seen just an explosion in usage of
5 spectrum around the passive services. And again,
6 I'll remind you what passive services are, the
7 things like radioastronomy and sensing of the
8 earth's atmosphere and surface with passive and
9 will receive only type equipment are typical
10 sensitivity levels are about a trillion times
11 higher -- well, let's see that would be 10^{12} , call
12 it 90 dB, a billion times more sensitive than a
13 typical radio receiver. So we're even far more
14 sensitive than the space communication receiver.
15 So we are in a situation where we are constantly
16 paying attention to the growth of the spectrum
17 usage and even a minimal out of band emission from
18 something like a GLONASS navigation satellite can
19 completely shut us down.

20 Whenever an earth-remote sensing
21 satellite operating in the earth-remote sensing
22 band at 10.68 gigahertz flies over Cleveland, it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 basically doesn't even try because you know, there
2 will be out of band emission from the adjacent
3 fixed service and it's very weak and they're doing
4 -- they're operating within their license, but
5 basically these folks, you know, were that
6 sensitive.

7 So we've seen incidents, obviously,
8 when Iridium is very busy, we see their out of
9 band emission, even though that was an incredible
10 activity as far as trying to coordinate the
11 licensing and out of band emission requirements for
12 Iridium relative to the neighboring L band passive
13 radioastronomy use. So I think we've seen a small
14 problem. As a matter of fact, right now, our
15 wonderful International Space Station, the Russian
16 segment has a transmitter on it that is not quite
17 allocated. And we see that at 1429 megahertz.
18 Don't ask me how it got there. But my comment is
19 that those of us that are most sensitive are most
20 afraid of the future. And we're very concerned
21 with out of band emissions.

22 MR. LARSON: So as hard as the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Commission is trying to protect the integrity of
2 your operations over there with the very sensitive
3 communications that you receive, perhaps
4 radioastronomy is kind of a barometer here, maybe
5 of things to come.

6 DR. STEFFES: Yes. And to draw a
7 parallel with the land management concept that the
8 two of you have brought up and Dale brought up
9 initially, I think that if you will, we're kind of
10 like the National Parks of the spectrum world.
11 We're the ones that are most sensitive to
12 pollution. We're most sensitive to environmental
13 change, that sort of thing because of the
14 sensitivity.

15 MR. LARSON: We'll soon go to the
16 audience for questions and comments, but I want to
17 just tap one other kind of a subissue here with Rob
18 Briskman. Rob brings, I think, a little bit of a
19 different perspective here to the discussion. Rob
20 represents a newly emerging service, satellite
21 digital radio, fresh from an FCC proceeding and I
22 think it's still an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on-going proceeding here involving certain issues.

2 Rob, in your view, how transparent are
3 the Commission's processes here for interference
4 particularly in connection with trying to put in a
5 new service. Are there room for improvements here,
6 or do you think things are okay as they are?

7 MR. BRISKMAN: Well, I'm going to
8 answer that in a very long answer, since my right
9 hand here neighbor claimed the rights to maximum
10 sensitivity.

11 (Laughter.)

12 Let me give a little bit of history
13 since I am representing, Keith, the satellite
14 industry here. The first commercial satellite
15 which I launched was Early Bird in 1967. That's
16 only 35 years ago and it was operated, as you know,
17 at 4 in 6 for fixed service. In this 35 years, of
18 course, and now many hundreds of satellites are
19 used for all different sorts of things,
20 communications, direct TV to your homes, a GPS for
21 navigation and position determination. You
22 mentioned Iridium and you on and on and on.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So I suppose, Keith, as a general
2 answer, I think the Commission should be
3 congratulated on coming up with the processes and
4 rules that have allowed the satellite industry to
5 grow this rapidly in 35 years and I'd like to
6 single out the IB which was called something else
7 back then, but is now the IB for doing most of this
8 work.

9 Now the second arm of this, of course,
10 is sensitivity. Without debating the
11 radioastronomers who do require a very high
12 sensitivity, so do satellites. And why? I suppose
13 for two engineering reasons. One, the economic
14 cost which Dale will get back to of putting
15 satellite power, transmitter power, is extremely
16 high. And therefore, any system design tries to
17 minimize that. This creates, obviously, receivers
18 are very, very sensitive and this creates a very
19 high possibility of getting interference.

20 Getting back to Keith's comment, of
21 course, the current and newest service is what's
22 called SDARs at the Commission which is a digital

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 audio radio service to cars. Again, it's extremely
2 sensitive because it uses receivers that are, if
3 you like, noise figure, I believe are a little bit
4 one below 1 dB noise figure. If you like kelvin,
5 it's about 160 degrees kelvin and they use omni
6 directional antennas. So it does make it extremely
7 sensitive to interference.

8 So what I'm still saying is that the
9 efforts and procedures that the Commission,
10 including this one, have been effective. There are
11 concerns, and by the way, this is not only SDARS
12 concerns, other satellites, having to do with out-
13 of-band emissions and this has been mentioned by at
14 least two or three of the other panelists. Without
15 belaboring the point, I did last night go through
16 the rules and one finds that in our band, others
17 can put anywhere from a range of 40 dB difference
18 in out-of-band emissions. In other words, there's
19 a rule for wireless. There's rules for ultra-wide
20 bands. There are rules for other Part 15/18
21 devices and the out-of-band emissions limits are
22 all different and although this second, I don't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 think there is a major problem. It is one that the
2 Commission must address and address soon before
3 there is one. Thank you.

4 MR. LARSON: Thank you, Rob. Well,
5 we're finally I turn to you here and then we'll go
6 to the audience. Welcome and I'm happy to tell you
7 today that I'm not here to try to take away some
8 federal spectrum here from the Government. That's
9 not the purpose of this panel and also, I'd like
10 you to go back and report to your superiors back
11 there in the federal Government side, how well
12 under control things are on the FCC side of things
13 or seem to be.

14 (Laughter.)

15 And what civil proceedings we have
16 here.

17 (Laughter.)

18 How are things over there on the
19 federal government side. Are you grappling with
20 the interference issues, just like we are here?

21 MS. COWEN-HIRSCH: Absolutely, and let
22 me tell you that the Department of Defense has

1 addressed interference from the get go because we
2 use such a wide plethora of systems and a very
3 finite amount of spectrum, interference criteria is
4 a way of life for us. And what we do very
5 significantly different than Commission rulings is
6 that we don't place the entire burden on the
7 transmitter side. It is essential for our
8 receivers to be able to have -- find discrimination
9 and to ensure that their interference tolerance
10 enable their mission to be complete.

11 Now we also have receivers that are
12 wide open and highly sensitive, satellites as well
13 as sensors in the most generic sense and what we do
14 to overcome the interference because it's not a
15 question of whether you will have interference, but
16 when and to what degree. And what you do with
17 technology to be able to get through that
18 interference to accomplish the mission and get your
19 information transmitted from point A to point B.
20 So in the case where we have our wide open
21 transmitters, we often use signal processing
22 techniques and certainly technology is opening some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 wide areas of exploration in that area, to be able
2 to discriminate the information, to be able to
3 address the noise issues.

4 So when we have a platform, whether
5 it's a ship or an aircraft or a satellite that's in
6 a highly dense environment and there's nothing more
7 dense than an electromagnetic environment than a
8 battlefield, the ability to address interference
9 issues and to overcome them and to minimize them,
10 two very, very different disciplines is critically
11 important to the Department of Defense.

12 We used to, in our material solution,
13 demand receiver standards. We have changed our
14 acquisition processes such that receiver standards
15 are not the mandate, but they are, in fact, a way
16 of life in terms of ensuring that technology
17 addresses the interference environment in a
18 battlefield situation.

19 Now, all of our missions are not
20 accomplished on the battlefield. Our missions are
21 also accomplished here within the United States and
22 so we're very sensitive to the potential for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 interference from commercial applications, whatever
2 they may be. We use the same technical solutions
3 to begin to address what the regulatory arena may
4 not, for lack of a better word, enforce. So the
5 interference criteria and the way we address it
6 technically, as well as taking advantage of when
7 and where time and geography of how we use our
8 systems mitigates the interference situation when
9 we're operating with similar systems and certainly
10 with dissimilar systems.

11 MR. LARSON: My co-moderator has a
12 follow-up question.

13 MR. HATFIELD: Rebecca, this is new
14 information to me from back when I was at NTIA on
15 receiver standards. I just wanted you to clarify.

16 You say it's no longer -- receiver standards are
17 no longer mandated, but are a way of life. How
18 does that translate into the real world?

19 MS. COWEN-HIRSCH: You mean the real
20 world outside the Defense Department?

21 MR. HATFIELD: No, no, I mean --

22 (Laughter.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HATFIELD: No, I mean because I've
2 been recently more an advocate of looking at the
3 receiverside and I've sometimes used the Department
4 of Defense as an example that you tended in the
5 past to look harder and now you're saying it's not
6 a mandate, but it's a way of life. What does that
7 mean in practical terms if I'm designing a DOD
8 system?

9 MS. COWEN-HIRSCH: Absolutely, very
10 good question. In prior years of acquisition and
11 when we were doing our purchasing and building of
12 systems, there were military standards or mil
13 standards that were levied against the provider or
14 against the company that would be building the
15 system for us. Because we are allowing new
16 technology solutions, we do not levy specific
17 standards and it's just a streamlining of
18 acquisition and that was the previous
19 Administration, at least in part, was their
20 direction. This actually has been significantly
21 advantageous for us because rather than telling
22 someone how to do their job, we base all of our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 requirements on operational requirements, so rather
2 than forcing or directing a specific standard
3 against which a system must be designed, we
4 actually have an operational requirement whether
5 it's threshold or different requirement for the
6 data throughput such that you leave it up to the
7 individual company and the technological solution
8 to establish how those requirements could be met.
9 So instead of levying a standard that the receiver
10 meet a specific criteria, you've got a throughput
11 requirement that indicates your quality of service,
12 if you will, that will translate into the
13 commercial industry. You would define what those
14 quality of service requirements would subsequently
15 be and allow the technology to drive the solution.

16 It introduces greater flexibility. It also allows
17 us to leverage where industry may be in some cases
18 exploring new opportunities that wouldn't
19 necessarily be consistent with an old antiquated
20 mil standard, but would provide the necessary
21 operational capabilities. So it basically is a
22 quality of service requirement.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HATFIELD: Could I follow up?
2 Taking Paul's admonition to be provocative, what
3 prevents a system from being designed that meets
4 the requirement, but squanders spectrum? I mean I
5 thought that's the reason you looked at receivers
6 is to make sure that the receiver wasn't squandered
7 and I always use you as a poster child and now
8 you're telling me that maybe -- and Andrew, the
9 same thing. I am probably a very strong advocate
10 of flexibility, but the trouble is the flexibility,
11 you can design a system what I call fragile
12 systems, systems that are too darn sensitive to
13 interference in which you play, and then you say
14 everybody around you. Now you've got to cut down
15 your out-of-band emissions because I've put a
16 system that's what I would say is under designed.
17 Where do you do the design review to make sure that
18 the person is not meeting the requirement, but is
19 squandering spectrum?

20 MS. COWEN-HIRSCH: From the very get-
21 to. Not only is it the quality of service for a
22 particular system, but it's that that system must

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 operate in the intended environment, so there are
2 environmental considerations so that you can
3 address either existing out-of-band emissions, but
4 also take into consideration whether it's the noise
5 environment, if you're operating in the presence of
6 ultra-wide band or whatever the new system, you
7 have to take the environment into consideration.
8 And looking at -- it is absolutely essential that
9 spectral efficiency be one consideration. Now the
10 military has some unique situations. There are
11 missions that we accomplish such as -- or
12 requirements that we have like anti-jam, that is
13 very significantly different than the broad open
14 industry requirements. So it is not only -- we
15 cannot tolerate because the plethora and the wide
16 variety of systems and the finite amount of
17 spectrum into which we are restricted because we
18 have not addressed the breadth of sharing
19 potentials in the broadest concept across the
20 spectrum in total. We are restricted in the finite
21 amount of spectrum that we do employ that we need
22 to begin to -- we need to be fine stewards of that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 spectrum and we are to allow the mission to be able
2 to be accomplished.

3 MR. LARSON: Okay, thank you. Receiver
4 standards are going to be a really important thing
5 down the line. I think it's something we're going
6 to be talking about more even in this panel here as
7 we get into other segments of the panel, but the
8 audience, you've been extremely patient here,
9 listening to the panelists get their discussions.
10 Now it's your turn.

11 Anybody have any problems that they can
12 put their fingers on or things from your point of
13 view, members of the audience. Are things working
14 pretty well or are there areas that the Commission
15 should be concerned about, about its present
16 processes? And then after that, we'll move to our
17 next segment on dealing with future challenges, but
18 again, let's keep it focused on the present right
19 now.

20 Questions?

21 (Pause.)

22 Yes. Please identify yourself by name

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and affiliation, if you could, please?

2 MR. DELMORE: I'm John Delmore. And I
3 have just a quick question for Glen Nash.

4 Mr. Nash, you mentioned with regards to
5 interference. The FCC's require licensees to
6 cooperate with each other. And I think that's what
7 you said. Correct me if I'm wrong. If you did say
8 that, could elaborate on how that's currently
9 working out with public safety licensees,
10 cooperation between public safety licensees and
11 other licensees that may be causing interference to
12 them, the degree of cooperation that exists and
13 that sort of thing?

14 MR. NASH: Sure. Again, within the
15 public safety community, I think there's a fairly
16 good amount of cooperation between the licensees.
17 And quite frankly, as I said, that begins at the
18 frequency coordination process to minimize the
19 potential for interference, but once it occurs, the
20 two parties getting together and finding an
21 amicable solution and as Larry indicated, that
22 making adjustments in power output, making

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 adjustments in antenna patterns, implementing CTCSS
2 and other techniques to minimize the effects of
3 nuisance interference, those are all things that we
4 do on an everyday basis.

5 As we start to experience interference
6 coming from outside the public safety community, I
7 think that's one area in which the practices become
8 a little less precise and followed. The rules
9 don't specifically require good coordination
10 between the different frequency coordinators and so
11 at times we do see some conflicts, the parties on
12 each side of a frequency boundary or a geographic
13 boundary doing their own thing, saying the rules
14 allow me to do this and it's almost as if -- they
15 think there's a Faraday shield that goes up and
16 nothing crosses over which isn't reality. So
17 that's when we do start to get some conflicts.

18 Certainly, as time has gone on, and
19 starting getting into the future challenges and
20 I'll minimize my comments here, but we're seeing
21 the changes in technology are having an impact on
22 the interference equation. So again, many of us

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 realize that we're all in this together. We have
2 to work together in order to make it work because
3 if we don't work together, it isn't going to work.

4 So you just have to be a part of, as I made the
5 comment, play the game, be a participant in it
6 because that makes it better for all of us.

7 MR. DELMORE: Can you elaborate on the
8 particular changes that you're referring to?

9 MR. NASH: The question was getting
10 into changes in technology.

11 What we've been seeing over the last
12 few years is a trend from single user/single
13 frequency type systems to multiple user type
14 systems and so you go to TDMA, you go to CDMA, you
15 have many users using a much wider bandwidth. And
16 from a spectral efficiency standpoint that may be
17 very well good. From an interference standpoint
18 what you need to really -- the underlying
19 performance of filters is an issue of bandwidth and
20 so as you make the bandwidth, either the
21 transmitter or the receiver has to be wider in
22 order to accept the desired signal. It also is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 wider and is open to more undesired signals. So
2 that's just one area in which we've seen what I
3 believe really is an increased susceptibility to
4 interference is by going to these technologies that
5 require and operate at wider bandwidths.

6 We're also seeing radios that have many
7 more individual frequencies in them. When I
8 started in this industry 30 years ago, a 4-channel
9 radio, that was a highly capable radio. We tuned
10 the front end of it. The maximum frequency spread
11 was maybe a megahertz. We now routinely have
12 radios that are operating with 200 plus frequencies
13 in them. The front ends of those now have to be
14 tuned so that they operate over 10 or 15 megahertz
15 and 800 megahertz with trunking systems where
16 you're dynamically assigning channels.

17 Again, we've had to open up the
18 receivers in order to accept a much broader range
19 of possible inputs. That has an impact on receiver
20 performance, as far as its ability to reject to
21 undesired signals. So I think as we've seen these
22 moves towards having radios that are much, by

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 design, are wider in bandwidth, the engineering
2 trade off we're making is that by design, they're
3 more susceptible to interference.

4 MR. LARSON: Anybody else have any
5 comments or problems they want to bring to our
6 attention here at this point before we move on?
7 Yes, in the back?

8 MR. EPSTEIN: Good morning, Bart
9 Epstein from Latham and Watkins. And I have a
10 question about the expectation of users. I'm
11 reminded of when I had my first car which I bought
12 for \$200, prearrived with quite a number of dents
13 and the first time I bumped into something I looked
14 and I couldn't even tell which dent was new because
15 it had so many already. But now with my new car,
16 if I have a dent, my expectations have changed and
17 that dent is not acceptable at all. And it strikes
18 me that either there is or there should be an
19 understanding at the Commission that certain uses
20 of the spectrum consumers and businesses and the
21 military have different expectations of what's
22 acceptable.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 When consumers start spending several
2 thousand dollars for a digital television or they
3 upgrade their car stereo to receive satellite
4 signals, they're expecting high quality,
5 uninterrupted digital signal which they're often
6 willing to pay a premium for as opposed to free or
7 over-the-air signals which although greatly
8 improved, still occasionally have interference
9 problems.

10 Is that something which the panel
11 thinks the Commission should or should not be
12 doing? It seems like a lot of the disputes we have
13 are based on expectations and once we have -- once
14 we have set an expectation, the public is awfully
15 unhappy being disappointed.

16 MR. LARSON: Anybody want to respond
17 that here?

18 MR. BRISKMAN: Amen.

19 (Laughter.)

20 MR. BRISKMAN: Yes, the Commission,
21 obviously has to address these matters. They're
22 difficult matters. Some are, I suppose the word is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 subjective, which makes it very difficult again,
2 but they have to be considered. People and
3 hopefully, won't object, and occasionally had a
4 dropped call, miscall, I don't think that's a
5 problem. But as you say, a person who's paying for
6 a service, has great expectations like digital
7 television or satellite radio. I think that has to
8 be a very high criteria for quality of service.
9 And the Commission has to address these matters.

10 MR. LARSON: And as I said in my
11 opening, the Commission plans to vigorously address
12 interference issues like this.

13 I was looking at the clock here and we
14 have a lot of ground to cover here. Do we have any
15 other questions first on this, on the current
16 problems before we move on? Yeah, in the back,
17 Peter?

18 MR. PITSCHE: Peter Pitsch with Intel
19 Corporation. I just wanted to ask a question
20 following up on Andrew Clegg's description of
21 output oriented interference restrictions and how
22 well that seemed to work.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Is that an approach that would have
2 application elsewhere, problems in extending it
3 elsewhere?

4 DR. CLEGG: I think as long as you
5 allocate spectrum so that the services that are in
6 that spectrum are fundamentally compatible, I think
7 you can follow this technique where you give the
8 licenses out, you put as few technical restraints
9 as possible and as long as the services are
10 fundamentally compatible, I believe, generally,
11 things will work out like they have for the PCS
12 band. The problem at 800 megahertz is you've got
13 systems that are fundamentally incompatible.
14 You've got other examples of, for example, trying
15 to put terrestrial repeaters for some of the
16 satellite digital audio radio systems. Some people
17 may argue that that use of that spectrum is
18 incompatible with the wireless communications
19 service spectrum. But generally, I believe that as
20 long as the Commission is careful to allocate
21 spectrum to compatible services and give those
22 compatible services exclusive access to that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 spectrum, I think this technique of flexible
2 allocations are putting as few technical
3 requirements on the licensees, I think has proven
4 to be quite effective in PCS and I think it can be
5 effective in other bands as well, other services.

6 MR. LARSON: Okay, I'll take one more
7 question here before we move on. Yeah, go ahead,
8 sir.

9 MR. RAPPAPORT: My name is Gene
10 Rappaport with Winstar Communications. I'd just
11 like to express support from the commercial
12 industry for the remarks Mr. Hatfield made that
13 when you buy a spectrum license at auction, and
14 then you expect certain interference protection
15 goes along with that license that you've paid money
16 for, but many cases you then have to spend years
17 trying to protect those rights from interference
18 both on the domestic basis and on the international
19 basis, so there has to be some accommodation
20 between the rates that you require and the
21 interference protection that you then have to fight
22 for on an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on-going basis. Thank you.

2 MR. LARSON: Thank you. Let's refocus
3 the discussion here. Let's now look toward the
4 future here. Way down the line, you know, 5, 10,
5 even 20 years ahead, and Dale, I'll turn it over to
6 you.

7 MR. HATFIELD: Okay, I think the stage
8 has already been pretty well set in terms that we
9 know that with increased flexibility people can
10 choose different wave forms, they can choose lots
11 of different modulation techniques and so forth and
12 we're seeing also because of flexibility they can
13 do that and we're also, of course, seeing this
14 proliferation of devices and so forth. So when you
15 look, because of these changes, when you look
16 towards the future, what sort of challenges do you
17 see and why don't we start down -- I'll start down
18 here on the right, Lynn, and ask you looking
19 forward what do you see the major challenges that
20 will face the Commission, things that are maybe
21 just beginning to emerge?

22 MR. CLAUDY: Well, I'd go back to your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 remarks earlier that that maybe it's time for the
2 Commission to look closer at receiver standards. I
3 think that is an area where there hasn't been a lot
4 of Commission involvement and it's been marketplace
5 only, at least in the broadcast case and the market
6 place may not work some of those issues out
7 ultimately. So if you really desire interference
8 free service in the areas where you think you have
9 that, and that's an important public interest goal,
10 there has to be some involvement to make sure that
11 that indeed happens and not just happens by
12 happenstance.

13 So I think receivers standards is a new
14 area for the Commission to really look at. I agree
15 with the comments of taking like services and
16 putting them in the same bands and that the
17 interference management problem becomes more
18 tractable by doing that. There will be increased
19 pressure on services like broadcasting to be
20 extremely spectrum efficient. The reclamation of
21 the spectrum in the VHF/UHF bands, the reclamation
22 of spectrum for the mobile satellite service and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the two gigahertz band. There will be a lot of
2 continued quests toward doing more with less and I
3 think that again goes back to receivers being
4 smarter, adaptable and having more tools available
5 to operate either in a smaller bandwidth or with a
6 more rich interference environment. So that's
7 again a driver for the Commission to look at both
8 the transmit and the receiver side.

9 MR. HATFIELD: One of the things that
10 might be useful to explore later on is the
11 difference between the broadcast service where you
12 buy the television set in a single transaction and
13 don't have any further relationship with the
14 service provider compared with the cellular example
15 where there's a continuing relationship and a
16 financial relationship between the customer and the
17 provider. I think that distinction is an important
18 one and a lot of the things I saw here when I was
19 at the Commission related to where the person made
20 the single transaction. You've got a million TV
21 sets, hundreds of millions of -- you know, and it
22 gets very difficult politically to change things.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Larry, can we go on down? Moving right
2 down the line.

3 MR. MILLER: Okay, thank you. I'd like
4 to second those comments regarding receiver
5 standards and I guess from the land mobile
6 perspective, I think the Commission has tried some
7 things. Obviously, everyone always wants more
8 spectrum. I think the Commission tried with re-
9 farming to generate more voice paths in the
10 existing spectrum. But I don't think they did it
11 aggressively enough. They depended on the market
12 place to encourage and essentially manage the
13 transition to new technologies. It hasn't
14 happened.

15 In a lot of cases the users and I know
16 from my personal perspective, I used to work for
17 state government and if I went in to the budget
18 director and says I need a certain amount of money
19 to upgrade my system because I want to improve
20 performance, etcetera, no matter how much
21 documentation I had, it was kind of a hard sell,
22 but if I said the FCC just issued a rule and by

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this date I have to do this, somehow the money was
2 found. So I think with respect to the efforts of
3 the Commission on re-farming, additions of date
4 certain that all systems have to operate within
5 certain bandwidths, that would be a good step
6 forward. You need receiver standards because my
7 experience as a frequency coordinator is that when
8 you try to intermix new narrow band digital
9 modulation schemes with the older wide band analog,
10 you can run a path profile in a computer model and
11 it looks like it will work, but when they plug the
12 equipment and turn it on, you don't get the same
13 results. So I think again, receiver standards
14 would help them in that area.

15 With respect to the 700 megahertz
16 spectrum, the way the rules are written, it's
17 fairly ambiguous as to whether the broadcasters,
18 the incumbent broadcasters really ever have to
19 vacate and I think in order to get the kind of
20 commitment from governmental entities and perhaps
21 even the band manager users, the Commission needs
22 to be a little more aggressive to make sure that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 when land mobile systems are constructed in those
2 bands, that the television broadcasters have, in
3 fact, vacated, so that the new MOUs can use that
4 spectrum.

5 And that's as much as I think I need to
6 say, but I'm sure you have a lot of other
7 commenters here.

8 MR. HATFIELD: Yes, the thing that
9 jumps in my mind too is the difference between
10 where you have exclusive use like in the cellular
11 case where efficiency gains accrue to you in terms
12 of more revenue where you're in a public safety,
13 nonprofit sort of organization where it doesn't
14 necessarily accrue to you.

15 Paul?

16 DR. STEFFES: Well, the first thing I
17 wanted to restate was how happy the passive
18 community has been with the support we've received
19 from the Commission. I think when I was quoting
20 problems I wanted to state that over the years that
21 I've been involved with this the Commission has
22 been extremely sensitive to the highly sensitive

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 nature of passive science, use of the radio
2 spectrum.

3 However, the problem, of course, for
4 the future is complexity. Obviously, the number of
5 users and the management of the problem becomes
6 dramatically enhanced. I was talking with Paul
7 Kolodzy before and we were saying that it's at
8 least a six dimensional problem meaning spatial, x-
9 y-z, frequency, time and wave form and of course
10 since the wave form can be infinitely complicated,
11 you can make it an n-fold problem which it
12 basically has more variables than you have numbers.

13 So as a result, the complexity issue, I
14 think, presents the Commission with an especial
15 challenge and I think that a lot of the solutions
16 will be technological and those technological
17 solutions for compatibility of services can, in
18 fact, be found in many cases. However, in a lot of
19 ways, the holistic problem needs to be looked at a
20 top level. In other words, not just solving one
21 service's compatibility problem with an adjacent
22 one, but giving the Commission the technical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 resources it needs to look at the higher level
2 problem. What is the current level of spectrum
3 usage nationwide? You know, the NTIA, thankfully,
4 back in the 1990s made a few studies of certain
5 urban environments and suburban environments, but
6 those were just first steps. We really don't have
7 good metrics on what's going on technologically and
8 I think that that might be one of the biggest
9 contributions the Commission could gain or one of
10 the biggest assets the Commission could gain in the
11 next decade.

12 MR. HATFIELD: Thank you. Bob?

13 MR. BRISKMAN: I have to support
14 grouping of like usages, but just to be honest
15 about it, I hope I'll live that long to see it. So
16 going to more practical ways to address the long
17 term problem, one thing I have not heard and which
18 I think would help everybody is more severe
19 requirements on filtering and one thing nobody has
20 talked about yet is severe requirements on how much
21 filtering there is at the transmitter because that
22 is what is generating the interference to begin

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with. And therefore, if you have requirements
2 there, this is the so-called
3 out-of-band interference, you're helping everybody
4 on both sides of you throughout the spectrum. This
5 is sort of polluting the commons, I suppose, is the
6 acute way of saying that.

7 And secondly, of course, let us talk
8 and this is my last point on the receiver, there
9 are modulation techniques that are more resistant
10 to interference than others. Unfortunately, these
11 almost always require for the same through put more
12 bandwidth and obviously bandwidth and spectrum have
13 become very difficult to get and very expensive.
14 So people are because of that design systems to get
15 the maximum capacity out of the spectrum and to do
16 otherwise would probably be uneconomic.

17 On the other hand, certainly they could
18 filter the receiver so that it would receive little
19 to no out-of-band interference. So I would
20 recommend that.

21 The last point I would like to make is
22 again a new point. I would think that most of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 new services, not all of them are digital. And
2 another criteria of control or specification is bit
3 error rate and the nice thing about bit error rate,
4 it's not subjective, it's measurable. One should
5 look at that as another tool that the Commission
6 could use in the allocation of frequencies and the
7 result of interference to a digital signal. And
8 hopefully, there could be some reward for those
9 that design their system to be more resistant to
10 interference. Thank you.

11 MR. HATFIELD: Yes, thank you. Glen?

12 MR. NASH: As I've already indicated, I
13 think the trend is towards technologies that in
14 many ways are working against us on this
15 interference issue. And the public wants those
16 technologies, industry wants those technologies.
17 They're new, they're better and yet, we're not
18 recognizing the fact that they carry with them a
19 certain cost and one of those costs is in the
20 interference area.

21 One of the things I would really like
22 to see the Commission look at for the future is we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 develop a vision about what it is we're trying to
2 accomplish and having a vision recognize that it's
3 going to take time, it's going to take effort to
4 attain that vision and the fact that it's going to
5 take time and effort is not a reason to not make
6 the effort. And I think I've seen that a little
7 bit. We tend to say that well, television
8 broadcasting could be a lot better, but we have 200
9 million legacy television sets out there, so we
10 really can't do anything because we have all these
11 legacies out there. Well, yes, we can do
12 something. We can have a vision, work toward
13 something better, recognize that the legacies out
14 there are going to make the conversion take longer,
15 but if we don't have the vision, if we don't start
16 down a path toward something better, we will never
17 get to something better. And so we really have to
18 start the process.

19 The other thing is that I think many
20 cases, all of us in our individual industries are
21 making choices about what we do, how we design
22 things and we're doing that, if you will, in a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 vacuum. We look at our own little community and we
2 say this is best for us, this is what we're going
3 to do and often times, we don't look outside to see
4 what is the impact on others.

5 PCS, one of the advantages they've had
6 is that often times those decisions were made
7 within a company. They were given a block of
8 spectrum and something to do and so decisions they
9 made were within the company. What we find in
10 other industries and public safety, I think, is a
11 real good example. There are thousands of
12 individual public safety entities out there.
13 Today, I'm here and Larry, you're here. We
14 represent associations that represent those
15 industries, but the associations do not own and
16 operate radio systems. We can make recommendations
17 and suggestions that we say are good for the
18 industry, but when it comes down to actually
19 implementing it, we have no authority to implement
20 anything.

21 So we do need to be aware that
22 decisions have to be driven from a higher level.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 They have to, as Larry indicated, it's much easier
2 when the FCC says this is the way you're going to
3 do it because it is in the best good of everybody
4 that it be done this way. We really need that
5 because when you get down to those individual
6 people, making decisions on themselves, they tend
7 to look at only their own best interests and often
8 time they don't make the best decisions in that
9 case

10 MS. COWEN-HIRSCH: Well, in terms of
11 challenges for the future there are so many. It
12 was identified, Paul identified that there were at
13 least six dimensions. I think there are at least
14 two more. One is the economic benefit and since
15 I'm from the public sector, I will not comment on
16 that, but also there is the priority issue and
17 that's something that we know a great deal about.

18 But looking towards what the challenges
19 facing the FCC and certainly the NTIA and the
20 public sector are how do we respond to this new
21 advent of technology? How do we address what is
22 going to be required in terms of a new sharing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 etiquette, the bill of rights?

2 We haven't talked a lot about this in
3 this panel and I'm certainly going to tease
4 something up for the next panel that will address
5 the technologies and that's the issues associated
6 with opportunistic use and dynamic reallocation,
7 software defined radios. How do you begin to
8 address what those systems bring into the mix in
9 terms of exploitation of this finite resource?

10 The current service rules simply do not
11 allow for that flexibility. I'll toss a bone over
12 here. Flexibility certainly allows for greater
13 opportunity to explore the use of this finite
14 resource. But you need to look at the quality of
15 service trades and the opportunities for secondary
16 benefits to be able to do that.

17 Receiver standards certainly worked for
18 the Department of Defense in the past and once
19 standards became not the mandate, we certainly took
20 into place those considerations in our design and
21 our material solutions. So standards are one way
22 to do it if you want to levy a requirement against

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 somebody, but quality of service begins to say what
2 can you tolerate, what is your probability of
3 interference and what's the impact of that, what
4 wave forms do for you, what they do not? So
5 there's some areas that we'll definitely look at,
6 that will challenge you.

7 One thing, when you get into the advent
8 of software defined radios and they are here, when
9 you look at opportunistic sharing and reallocating
10 systems, you need to look at having behavior
11 confidence. That's something that we simply
12 haven't addressed to date. In the federal sector
13 we look more at a hardware certification than a
14 behavior confidence that the software and the
15 technology presents for us. So that ought to give
16 us something to wrestle with for the next several
17 years.

18 MR. HATFIELD: Yes, indeed, thank you.

19 DR. CLEGG: I think I can predict the
20 future fairly confidently that we're going to see
21 as far as interference, we're going to see the same
22 that we see today, but we're just going to see a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lot more of it. I mean that's basically what we're
2 going to see. And it's going to be a gradual
3 thing. It may not be so obvious on a day to day
4 basis, but the interference will increase.

5 I'm a little more optimistic in that I
6 think that the same technological advances that are
7 allowing us to do all sorts of new things that we
8 could do before and perhaps creating more
9 interference than we had before, along the same
10 lines, the same technological advances are allowing
11 us to do things to mitigate interference that we
12 could do before and I think that's more the topic
13 of the next panel, but I think in the long term, I
14 just am thinking about what we as a cellular and
15 PCS operator are doing as far as interference, both
16 infra-system interference and interference from
17 others. We're working on or have already deployed
18 power control as tightly as we can, dynamic
19 frequency allocation. We're using MIMO, multi-
20 in/multi-out which is a space and modulation
21 diversity scheme for improving performance and
22 facing environments. We're working on single

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 antenna interference cancellation algorithms.
2 We're working on adaptive antennas. And we're
3 certainly always working on or at least the handset
4 and bay station manufacturers are always working on
5 various DSP implementations that address and can
6 mitigate some of the interference.

7 So I'm hoping that in the long term, at
8 least a partial solution is the same technology
9 that's creating more interference will also help us
10 try to adapt to it.

11 MR. LARSON: We'd like to now welcome
12 Martin Rofheart, did I get that right? Martin's
13 the co-found and CEO of Xtreme Spectrum, an ultra
14 wideband service provider.

15 Martin, we had a lively discussion
16 yesterday on the unlicensed bands and things like
17 that, people trying to underlay services under
18 other services. What do you see the challenges for
19 the Commission down the road, 5, 10, 20 years from
20 now from your point of view?

21 DR. ROFHEART: Well, that's a huge
22 problem and it's hard to envy the Commission having

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to manage it. So you'll get companies like you've
2 just heard which resonate very strongly with
3 organizations like mine where our companies will
4 turn over technology on 6, 12, 18-month windows and
5 at the same time we live in an environment and
6 certainly the Commission more than we even live in
7 an environment where systems are fielded for 10,
8 20, 30 years. Literally, that's 20 dB of dynamic
9 range in technology turnover. And that's sort of
10 at the crux of why it is so complex for the
11 Commission to manage.

12 Exactly in line with the set of
13 comments we've heard here, ultra-wide band is sort
14 of the ultimate from an unlicensed technology
15 perspective in using signal processing and error-
16 correcting codes and modulation methodologies in
17 order to recycle and clean up a spectrum and use
18 those very advances in the ultimate and wide-end
19 front ends that receive all interference from all
20 users to use signal processing and advances in
21 semiconductor processes to clean that up and build
22 a very robust system. And ultimately, the best

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 metric and the most satisfying one is end user
2 market acceptance. The customers, the marketplace,
3 all of us when we go out and shop, are the folks
4 that make the decision about what quality of
5 service really means and have embedded in that buy
6 decision the economics as well as the six
7 dimensions and more of the problem.

8 MR. LARSON: Should we go to the
9 audience?

10 MR. HATFIELD: Yes, why don't we turn
11 to the audience unless there's some panelist that
12 has a burning sort of comment.

13 MR. LARSON: The panelists can question
14 each other too, if you like.

15 MR. HATFIELD: Exactly. If not, why
16 don't we go to the audience?

17 If not, I've got a question or two.
18 Yes, please, over here?

19 MR. EMERSON: I'm Daniel Emerson, I'm
20 representing the National Radioastronomy
21 Observatory.

22 I'm a radioastronomer. Some of the trainings that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we see in the future are very worrying indeed to a
2 radioastronomer.

3 In designing a communication system to
4 be interference immune and everybody seems to
5 accept that the interference environment is going
6 to get worse, with a communications system you can
7 design at both ends. You can choose the
8 appropriate modulation wave form that can then be
9 demodulated in a way that makes it immune to
10 interference.

11 The passive services don't have that
12 choice. Nature has decreed what sort of wave forms
13 are there for us to detect. We just don't have
14 that freedom of choice to play around with the
15 modulation techniques.

16 Now some of the advanced technology
17 coming along, the more efficient use of the
18 spectrum, unfortunately, it's a law of nature, I
19 guess, that the more efficient you make a wave
20 form, the more it looks like a natural signal. The
21 more complex wave forms we're hearing about look
22 like Gaussian noise, if you don't have the key to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 demodulate them. Gaussian noise is exactly what
2 the passive services detect.

3 So whereas in the good old days when
4 the spectrum was used very inefficiently, if you
5 had an interference in your radioastronomy band,
6 had a huge strong carrier, you could excise that,
7 you could recognize it. With the new technologies
8 it's much more difficult to use these excision
9 techniques that we could have applied. We did
10 apply in the good old days. So I'm worried that
11 not only is the level of interference, the number
12 of interfering sources are going up, it's getting
13 harder and harder for the passive services to apply
14 technology techniques to get rid of this
15 interference. So it's a double whammy for the
16 passive services. And I'm worried about that.

17 One thing that can certainly help is,
18 as has already been mentioned on the panel, filter
19 technology, the reduction of out-of-band emissions
20 at the transmitter with better filter technology.
21 That has to help us all. Thank you.

22 MR. HATFIELD: Other questions,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 comments? I'm sorry, come close to the mike,
2 please?

3 MR. SHEPARD: Hi, I'm Tim Shepard. I'm
4 an engineer and I've been thinking about how to
5 engineer systems perhaps in a context where there
6 was no regulation of emissions and this is a very
7 fascinating area.

8 I'd first like to -- one thing I'd like
9 to point out about the previous comments about
10 radioastronomy is there are actually freedoms in
11 radioastronomy to place your receivers wherever in
12 the world you'd like or perhaps even off of this
13 world and perhaps you could use some of the
14 flexibility you have in some of these six
15 dimensions to mitigate the interference. And there
16 also seems to be no limit on the amount of
17 directional gain you could use to increase your
18 signal-to-noise ratio. Of course, there are costs
19 with that and then we have to discuss -- and that
20 gets into -- it's impossible to figure out the
21 question of the benefit of radioastronomy versus
22 the economic benefits of what other -- what the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 technologies can do for our society.

2 Now, if that wasn't provocative enough,
3 I would like to hear especially from the panelists,
4 because I think in some sense we've got on this
5 panel a very good representation of all of the
6 legacy systems and in some sense have a lot of
7 receivers out there and it does take 30 years
8 perhaps to change, if we came up with something, if
9 we came up with a way of not requiring receivers to
10 bear more of the responsibility or perhaps even all
11 of the responsibility of mitigating interference,
12 perhaps every system in the world should be an
13 anti-jam system and then what do you need an FCC
14 for?

15 You needed an FCC, 70 years ago when
16 frequency-selective filters were the only
17 technology you could use to separate radio signals.

18
19 Is there any hope of perhaps moving all
20 of the burden to the receiver and perhaps at that
21 point we can eliminate the problem of regulatory
22 interference as getting in the way of what somebody

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 would like to do.

2 MR. HATFIELD: Hear, hear.

3 MR. SHEPHERD: I filed comments, I
4 filed a comment in the proceeding, pointing out
5 that if you think about 100,000 people going to a
6 football stadium and you think about the narrow
7 acoustic spectrum, and start thinking like a
8 traditional radio system engineer or perhaps a
9 regulator, you might think that you'd have to
10 regulate who is allowed to speak at the football
11 stadium because, of course, if everybody spoke at
12 once then it would totally destroy the spectrum and
13 it wouldn't be a communication anymore, but we all
14 know that we can still have a conversation with our
15 neighbor. And even if everybody talks at once, the
16 public address system can still be engineered so
17 that it's effective despite the fact that everybody
18 is cheering the team on the field. Etcetera.

19 I'd actually like to hear from the
20 panelists. Is there any hope of getting there in
21 20 years? I sometimes like to think about what
22 spectrum regulation is going to look like in a 100

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 or a 1,000 years, but can we get there in my
2 lifetime where we can basically do what we want in
3 this spectrum?

4 MR. HATFIELD: I think some of this
5 will be for our next panel as well, but I'd sure be
6 anxious to get any reactions. Yes, please?

7 DR. ROFHEART: So Tim, there's a de
8 facto regulation in the fact that the broadcaster,
9 the one in the public address system is the only
10 one that's allowed as a sole use at high power and
11 it's only the individual speakers in the stadium
12 that are the unlicensed speakers that are very low
13 power, that amazingly reflects exactly what the
14 Commission has wound up with.

15 (Laughter.)

16 DR. STEFFES: Another comment, since
17 the question was made about remoting radio
18 telescopes to the far side of the moon, I think the
19 point is that the spectrum, like land, is not
20 uniform. You have to manage it because certain
21 aspects of the spectrum are different than others,
22 any more than we'd say that a highly polluting

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 chemical plant can be located in any arbitrary land
2 position. There are just parts of the spectrum and
3 times in the spectrum that are more important than
4 others and so uniform management is not an
5 efficient use of the resource.

6 MR. HATFIELD: Other comments? Okay, a
7 question back here then? Or a comment?

8 MR. WARNER: I'm David Warner from the
9 Commonwealth of Virginia, Department of Information
10 Technology and I'm coming from the public safety
11 kind of perspective and I've heard terms like
12 managing interference, this is going to be the wave
13 of the future. I've heard comments that expect
14 more interference.

15 From the public safety side, I guess
16 what my concerns are and what I've heard echoed by
17 our public safety and Department of Defense
18 panelists is the rights, a bill of rights for
19 different systems. I can understand what the
20 cellular industry -- and that they have customers,
21 they have to make a profit. They're in an
22 environment that they're trying to serve, but they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 don't always cooperate and the interference is the
2 backlash of that in the sense that they've put up a
3 system that they know may cause interference with
4 the public safety which is a different type of
5 architecture.

6 I think we do need to have a bill of
7 rights that the rights of the individual whoever
8 that individual might be, whether it be cellular or
9 public safety, has to take into account the rights
10 of the rest of the people that they're going to
11 impact. So that's our perspective.

12 MR. HATFIELD: I think just to comment
13 myself here, there -- as I tried to say, I think
14 it's probably rights and obligations, both, because
15 I don't think you -- I would doubt if you would
16 advocate if the public safety entity put it in a
17 totally wide open receiver that would just be
18 susceptible to almost any interference anywhere,
19 you wouldn't suggest that that's a good idea, so it
20 seems to -- I don't believe you would, I would
21 guess you would, so it seems to me there would have
22 to be some -- I think what we're talking about here

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is balancing the obligations of the people who are
2 transmitting with some obligations on the part of
3 the receiver, not to be susceptible, so susceptible
4 to interference that you can't allow other people
5 to do things that are economically beneficial as
6 well. It's a balance. It's a trade off, it seems
7 to me.

8 MR. WARNER: Can I follow up? Perhaps
9 when they design a system, let's say in the
10 Washington, D.C. area, a perfect area to pick, is
11 they need to notify before they put the system up,
12 and before they give expectation to their corporate
13 managers, they need to say well, we need to work
14 with public safety because our systems are not
15 compatible. We have the same spectrum, but we have
16 dissimilar architectures. So they go in there.
17 They set it up and they do some field tests and
18 it's -- it can save a lot of headaches and it can
19 brief the people who are in the corporate structure
20 and say look, we want to have the build out here,
21 but it is going to have some adverse effects.
22 Perhaps we need to add a few transmitters in other

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 areas, so as not to cause interference to public
2 safety which is dealing with life and property.

3 DR. CLEGG: If I could respond. First
4 of all, unfortunately, Nextel isn't here to address
5 some of these questions --

6 (Laughter.)

7 But I'll try to help them out a little
8 bit, the best I can. Honestly, the vast majority
9 in your example of the interference is not caused
10 by the cellular industry. It's caused by the SMR
11 industry, specifically, Nextel. That's widely
12 recognized in the entire proceeding.

13 We as a cellular company actually do
14 now take into account, at least in areas where
15 we've had problems, the potential impact of public
16 safety. I was reviewing last night some cell site
17 plants in Maryland where they specifically indicate
18 on here that this particular site may cause some
19 problems, especially if Nextel is co-located there
20 and that we need to follow up on that with public
21 safety as that site is deployed.

22 So we actually are -- we really are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 becoming a lot more sensitive to that, but I also
2 have to echo Dale's comment that the problem is at
3 least half do to the design of the public safety
4 radio receivers. And in fact, it's the combination
5 of the spectrum allocation with the interspersed
6 Nextel and public safety channels with the design
7 of the public safety radios. Those two components
8 right there basically explain 99 percent of the
9 problem. But we are, of course, willing to work
10 with public safety to mitigate interference on a
11 case by case basis, the best we possibly can.

12 MR. WARNER: By your very statement,
13 you know that that's the problem, but yet systems
14 are implemented with the foreknowledge that
15 interference is going to be a result. I'm getting
16 back to the "bill of rights" that was introduced by
17 our Department of Defense panelists. I think there
18 needs to be some up front cooperation and this can
19 be transparent to other industries as well.

20 As Mr. Nash stated, you know, we're all
21 in our little world, but there are other people out
22 there who are impacted by the decisions and by the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 things that we do and that's -- and yes, there are
2 cellular, I have seen and maybe Mr. Nash can affirm
3 or otherwise dispute, but I have seen from
4 interference reports that there are more cellular
5 companies that are starting to interfere as well,
6 and yes, you are correct that Nextel is the main
7 one, but there are cellular providers who are
8 causing problems and I have to deal with that from
9 the state perspective.

10 Thank you.

11 MR. LARSON: Thank you for your
12 comments. We're starting to run a little bit short
13 on time on this panel. Time always seems to move
14 too quickly. I had another area that I wanted to
15 tee up and I'm probably going to have to buck the
16 larger part of the discussion to our third panel
17 this afternoon.

18 Could I get my next slide put up,
19 please?

20 (Pause.)

21 Where I was hoping to go here, there is
22 it, the definition of interference itself. This is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 one of the questions that we raised in the June 6
2 public notice. And we got a lot of comments on it.

3 Should the Commission change its decades old
4 definition? Will this help us deal with our
5 spectrum allocation decisions that we have to make
6 with our licensing processes? Will it provide a
7 more clearly defined interference rights to users
8 and service providers?

9 The current definition is subjective.
10 It does not reflect modern technology per se. And
11 so we asked whether or not it should be changed.
12 Commenters were kind of divided on this. There
13 were folks that said look, this is an ITU
14 definition that's used around the world and for the
15 purposes that it serves, it's a good definition,
16 don't tamper with it. Perhaps what's needed here
17 is to interpret the definition of interference and
18 the definition of harmful interference in the light
19 of particular services.

20 There are other folks that said you
21 need a new definition. You need a new definition
22 that reflects modern technology. Other people said

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you don't need one definition, you need many
2 definitions that are tailored toward particular
3 classes of spectrum users. But the current
4 definition handicaps us a little bit because
5 harmful interference is defined in terms such as
6 "serious degradation" which begs a definition of
7 its own in communications services. "Repeated
8 interruptions", what does that mean? That's
9 probably different for different services.

10 And I think in the afternoon panel, I
11 think one of the issues I'm hoping that you guys
12 can explore will be the definition of interference,
13 how should that be changed, if at all, perhaps.
14 We've heard some discussion today of metrics.
15 Maybe the definition could include a metric,
16 desired, undesired signal ratio, bit error ratio,
17 raising the noise floor, that kind of thing.

18 And so that's an issue that I hope will
19 be discussed this afternoon. We've also heard
20 about some discussion of the importance of receiver
21 standards. And receivers will be discussed in the
22 next panel and perhaps even in the afternoon panel

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to some extent. There have been discussions of the
2 benefits of grouping like users. You could
3 construct a tree, I suspect. It would be a hard
4 thing to do where you would branch out the users,
5 for example. You might have those users who
6 transmit point-to-point services versus those that
7 transmit point to multipoint. There's a whole
8 bunch of ways to do it. Those that require the use
9 of a propagation model and those that don't.
10 That's something else that perhaps can be taken up
11 in one of the subsequent panels today as a possible
12 way of meeting the Commission's challenges.

13 And then there was something else that
14 was discussed yesterday which might be interesting
15 as a way of doing it. How about the idea of just
16 characterizing an environment and saying these are
17 the signal levels that you can expect in this
18 environment, design the equipment accordingly.

19 And so with that, I leave you with
20 those thoughts.

21 Dale, did you have any concluding
22 thoughts here?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HATFIELD: No, I thought your last
2 point was an excellent one, I think, regarding
3 characterizing the environment.

4 MR. LARSON: Any closing thoughts from
5 any of the panelists here? We have time. We have
6 a couple of minutes.

7 Glen?

8 MR. NASH: I'd like to add to your
9 consideration of interference. Is part of the
10 equation needs to be the consequences that result
11 from interference? On one end of the scale and
12 some of the things that we've had in discussions
13 with the different land mobile user groups is that
14 there's a recognition that some user groups,
15 interference is an inconvenience. You have to
16 delay your conversation, you have to move to
17 another location. It has an impact, but at the
18 other end of the scale, we like to think public
19 safety is there, is that interference can result in
20 the loss or damage to life or property. And so the
21 consequence of having interference, I think has to
22 be part of the equation because some user groups

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 can accept interference more than other user groups
2 can. And then certainly Larry brought up earlier
3 the issue of the difference between what we in the
4 public safety market refer to as the difference
5 between nuisance interference and destructive
6 interference which again comes in a little bit of
7 your definition of harmful.

8 There's a certain amount of
9 interference you can live with, but you hit a
10 threshold where again it becomes destructive to
11 what you're trying to do, to what the mission is.

12 MR. BRISKMAN: I have one last comment,
13 it might be helpful. We all have said that we
14 expect to see more interference. Right now, I
15 suppose our only avenue of recourse at the
16 Commission I suppose is the Enforcement Bureau
17 which also, by the way, I compliment and does a
18 good job. But I suppose my thought is and I've
19 heard this before, the possibility of having active
20 spectrum manager that tries to actively work these
21 interference problems and get them resolved rather
22 than just the question of enforcement which is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 right now, if it interferes, you shut them down.

2 Anyhow, that's a thought I'd like to
3 inject. Thank you.

4 MR. LARSON: Thank you, Rob. Any other
5 panelists have any concluding statements here?

6 Okay, if not, we thank you, panelists
7 for being here today and sharing with us, taking
8 out of your valuable time and we're going to take
9 now a 15 minute break until 11:15 and then we'll
10 pick it up again with the advanced technologies
11 panel. Thank you very much, ladies and gentlemen.

12 (Applause.)

13 (Off the record.)

14 MR. REPASI: Well, good morning,
15 everybody. I see that everybody has pretty much
16 made their way back in from the break and I thank
17 you for being timely. I want to open up Panel II.

18 This is the Advanced Technologies Panel in the
19 Interference Workshop. This panel will -- this
20 segment of the workshop will go on until 12:30.
21 And at 12:30, we'll take a lunch break. So I'd
22 like to accomplish a lot in the next hour and 10

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 minutes or so.

2 Before I do, I would like to introduce
3 the panelists. I want to thank the panelists, one,
4 for being here. I understand that some of them had
5 to cut vacations short and it's a pleasure to have
6 them on the panel and I really truly appreciate the
7 participants that we have here.

8 To my left is co-moderator. Maybe I
9 should introduce myself first. I'm Ronald Repasi.
10 I'm with the Federal Communications Commission,
11 International Bureau. I'm the Assistant Chief
12 Engineer for the Policy Division in the
13 International Bureau.

14 To my left I have Brian Woerner from
15 Virginia Tech. He's a Professor at the Bradley
16 Department of Electrical Engineering.

17 Further down the line here, we have
18 Jack Rosa, who is president and CEO, Vice Chairman
19 of the Board for Hypres, Incorporated.

20 To Jack's -- this could be confusing --
21 to Jack's left is another Jack, Jack Wengryniuk
22 from Hughes Network Systems. He's the senior

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 director of regulatory affairs for Hughes Network
2 Systems.

3 To my right, you remember Dale Hatfield
4 from the previous panel. Thank you, Dale, for
5 participating as well on Panel II. Of course, you
6 know he's the independent -- an independent
7 consultant and adjunct professor for the University
8 of Colorado at Boulder.

9 To Dale's right we have Doug Lockie.
10 Thank you, Doug for being here. Doug is founder
11 and Executive Vice President for Endwave
12 Corporation.

13 And to Doug's right, we have Ray
14 Pickholtz from -- he's a professor at George
15 Washington University School of Engineering and
16 Applied Science.

17 Thank you all, again, for being
18 available today.

19 I'll just a little bit of an opening
20 remark, what we're trying to accomplish here, how
21 we've set up the segments and the panel. We're
22 going to have three segments that we'd like to go

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 through in Panel II. One segment is what are the
2 driving forces for the advances in technology that
3 we've seen to date and what do we see as the
4 driving forces in years to come, and even 20 years
5 out.

6 What are the capabilities of the
7 systems that are designed out there today and what
8 do we expect the capabilities of those systems to
9 be in the future?

10 The third segment, I'd like to address,
11 how the Commission's rules have affected the
12 advances in technology that we've seen today which
13 I think would be a good lead in to Panel III which
14 is going to be looking at a better process in
15 dealing with the interference environment and so
16 forth. So I'd like to understand from the
17 panelists and from the audience what in the
18 Commission's rules to date has driven or given them
19 flexibility that individuals have needed to make
20 the advances that we've seen to date.

21 I think the way we'll break this down
22 is Brian is going to co-moderate the first segment

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on the driving forces for the equipment, for the
2 advances and technology, but I wanted to point out
3 that this panel is a little bit smaller than the
4 other two panels, so what I'd like to do is if
5 there's an opportunity for Brian to comment as a
6 non co-moderator, I'd like to give him the
7 opportunity to participate in the panel from that
8 perspective as well.

9 So Brian, if you'd like to take on the
10 first segment?

11 MR. WOERNER: Thank you, Ron. I guess
12 our first segment, as Ron indicated, will be in the
13 area of driving forces. How we have gotten to the
14 current technology situation within the
15 communications area and certainly over the last few
16 years we've seen a lot of things change. We've
17 seen the way that we look at interference change as
18 was indicated in the first panel session.

19 We've also have seen the role that the
20 regulatory process takes in looking at that
21 interference change. I think first of all, we'd
22 like to ask our panel members to make a few remarks

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about what they see the current driving forces are
2 which have helped radio technology to the point
3 where it is right now. And maybe we'll start at
4 the far end with Jack Wengryniuk.

5 MR. WENGRYNIUK: Good pronunciation
6 there. Well, I currently work for Hughes Network
7 Systems and I guess like the previous panel list,
8 Ron Briskman, I'm representing the satellite
9 community here today.

10 Let's see, the satellite industry, as
11 was pointed out by Rob in the last panel, started
12 some 35 years ago with fairly simple satellites.
13 You had what we had bent-pipe satellites. The
14 signal came up, was frequency translated, came down
15 on a different frequency. Fairly large beam
16 coverage, either global beams that covered the
17 entire field of view or hemispherical beams that
18 covered very large land masses.

19 What you see today are something that's
20 considerably more sophisticated, particularly in
21 higher frequency bands you see extensive use of
22 spot beam technology. You see the use of what's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 coming in the use of digital on-board processing.
2 You see the use of frequency reuse over and over
3 again, being facilitated by some of these new
4 technologies.

5 All of this is primarily being driven
6 by the need to try and squeeze more and more
7 capacity out of the spectrum. Essentially, from
8 the satellite perspective there are certain
9 limitations to what can be done in terms of
10 protecting itself from interference and what you've
11 seen really is the drive from the satellite
12 industry to try and get essentially more revenue
13 out of what's being put in space and the way you
14 get more revenue is to squeeze more capacity out of
15 the spacecraft.

16 Now having said that there are limited
17 things that the satellite industry can do in terms
18 of interference. What you've also seen in the
19 satellite industry is a move from a thermal noise
20 limited environment to an interference limited
21 environment. And so again, there are certain
22 limitations within which that satellite industry

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 operates, but really what's happening to day is the
2 limitations to satellite performance are really
3 driven by the interference environment as opposed
4 to the noise environment.

5 MR. WOERNER: How would you define that
6 interference environment? Is it very "bursty" or
7 is it uniform using the term that we talked about
8 earlier today?

9 MR. WENGRYNIUK: Yes.

10 (Laughter.)

11 MR. WENGRYNIUK: There certainly is
12 sort of a what you could call more or less stable
13 background noise environment which is from the
14 thermal noise and from sort of interference from
15 adjacent satellites, maybe from terrestrial systems
16 that are always there, and then, of course, you
17 have sort of sporadic interference events as well
18 or diurnal variations in interference as the
19 capacity that's being carried by adjacent systems
20 varies throughout the course of the day. So you
21 see both the temporal component as well as the
22 static component.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WOERNER: We'll move on to Jack
2 Rosa.

3 MR. ROSA: I'll try to address this
4 from two aspects. One is a CEO of a high tech
5 company, what I think we can do for the world and
6 the second from the standpoint of -- I'm also on
7 the board of directors of the SDR Forum and what
8 the SDR world thinks we can do.

9 There's no doubt that demand for
10 increased capacity is with us. If you just examine
11 in bios communication the requirements for higher
12 data rates and the attendant features that come
13 with that. It's easy to say give me 384 kilobits.

14 It's hard to produce that. And the reason it's
15 hard to produce that is because you have to have
16 carrier-to-noise ratios and we like to call them Eb
17 over zero, but a 20 dB would be better than what
18 you're getting now with voice. So easy to say,
19 hard to do.

20 But there are, from a demand aspect,
21 many initiatives going on now. One of the most
22 prominent, I believe, which wasn't mentioned that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 much this morning, is in defense. Defense is
2 taking the massive leap of faith and they're now
3 going through attempt to build these -- people talk
4 about bandwidth, 2 megahertz to 2 gigahertz radios
5 that handle 30 or 40 different wave forms. It is
6 truly a noble venture.

7 (Laughter.)

8 And the industry is struggling with how
9 are you going to solve that problem. In fact, the
10 best we look for today is can we do as good as the
11 old systems were. Maybe the first step is not
12 improve anything, just is it as good as the old
13 system.

14 But there is some expectation in
15 various places that we can achieve a higher level
16 of performance. Advanced technology will bring
17 that.

18 It's interesting to watch the
19 transition. As you can see from my gray hair, I've
20 been in business for quite a while and in my youth
21 they used to talk about doing calculations in leak
22 margin based on C to Ns and S to Ns, okay? Now all

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we talk about S to I or C to I. So the migration
2 has gone from worrying about noise to worrying
3 about interference.

4 So we're sort of doing it to ourselves.

5 New technologies, as we talked about
6 which is the advanced services and so forth, bring
7 with them another set of problems. But I think the
8 next generation of technologies have solutions to
9 those problems and I'll save that for the second
10 part.

11 MR. WOERNER: To what extent are
12 economic factors a limitation on what we can do
13 with software radios? To what extent are those
14 radio technologies going to be expensive and how
15 soon can we count on the cost coming down?

16 MR. ROSA: Well, there's wide
17 expectations on what STR can do. As with any new
18 technology, it's the great hope. This is going to
19 come in and solve all my problems. I can buy a
20 radio for a dollar. It will get rid of
21 interference and so forth.

22 Now, sometimes the expectations far

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 exceed the reality situation, but most of us in the
2 business feel that there is significant gains to be
3 made. There are certainly opportunities here to
4 improve the situation.

5 The extent to which we can improve it
6 would be a function of to some extent economic
7 issues, people's willingness, like Defense, to take
8 the leap of faith and to realize the economic
9 benefits and that is as much driven by political
10 factors as it is by economic factors.

11 I think the meat is there. It's how
12 much do you want to eat is the question.

13 MR. WOERNER: Thanks, Jack. Maybe we
14 could move to the far end of the panel and ask Ray
15 Pickholtz for some opening remarks?

16 DR. PICKHOLTZ: Thank you. I guess
17 because you wanted a little more provocation --

18 (Laughter.)

19 I'm an academic, but I also have a lot
20 of experience in industry, having built things for
21 a long time, but I'll take an academic tact to
22 begin with. The concept of interference, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 conventional approach is interference is
2 undesirable, get it down to a minimum or eliminate
3 it and the burden is largely on the transmitter.
4 That's been the attitude. But in fact, there are
5 lots of different kinds of interference. Not all
6 of it is bad. In fact, we know now how to use
7 interference. I'll give you an example.
8 Intersymbol interference. Actually, with the use
9 of intersymbol interference, you can actually
10 improve performance and it's done commonly every
11 day, right now, in most of CDMA handsets. And you
12 can gain 3 to 5 dB that way.

13 Similarly, the concept of interference
14 is not very different from the concept of thermal
15 noise which is basically you have no a priori
16 knowledge about that you can exploit. But in fact,
17 if you have a system of cooperative users,
18 typically, a multi-user environment, you can
19 actually exploit the fact that there's a lot of a
20 priori knowledge about the nature of the
21 interference and either eliminate it or minimize it
22 to the point where it's not very important. So the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 problem of going from S to I, S to N to C to I goes
2 back to S to N. That is the only thing that you
3 really can't avoid is the thermal noise effects,
4 whether it be at the front end or some other means.

5 In fact, we know for about 50 years due
6 to a fellow by the name of Claude Shannon, that
7 there's a way of transmitting things so that you
8 get the maximum possible spectral efficiency out of
9 the system with virtually no degradation at all,
10 providing you don't make a hog of yourself, and
11 most systems today are somewhere between 5 and 10
12 dB from that limit and it's not the limitation due
13 to interference.

14 So does this -- are the techniques
15 known for exploiting the ability to eliminate or
16 reduce interference or make it work for you and the
17 answer is yes. There are literally by now
18 thousands of papers and archival journals, but it's
19 gone beyond that. I was very pleased to hear in
20 the last panel somebody actually talking about
21 building some of these systems and I know, I've
22 traveled to Japan where people are building things

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 like adaptive arrays. They're building multi-user
2 detectors. They're building interference
3 cancellation schemes, all of which translate into
4 more revenue for the people who are doing it
5 because let's face it, "it's the interference,
6 stupid." The concept here is that to the extent
7 that you can avoid interference and not treat it as
8 if it was noise you can increase the capacity and
9 therefore get more revenue.

10 So that's my opening provocative
11 statement. I just want to make one comment.
12 Putting back my hat of a practical person, is this
13 difficult? Yes, conceptually, there are some
14 difficulties, but once you understand how to make
15 chips, you can make these chips -- just as cheaply.

16 You can put 300,000 gigs on a chip just as easily
17 as you can put 20 once you start making them in
18 large amounts.

19 So I think we're at the threshold of
20 being able to do some of the techniques which would
21 get us to the point where we have an interference,
22 we view interference as not something that's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 absolutely to be avoided because you're not going
2 to avoid it. It's a question of whether you simply
3 live with it or something about it and that
4 requires a lot of sophisticated digital signal
5 processing, a lot of coding, possibly cooperation
6 between users and adjacent bands and maybe
7 certainly users within the same service provider.
8 But they're coming, I have no doubt. At a later
9 time, I'd be happy to tell you specific numbers and
10 details of what could be achieved.

11 MR. WOERNER: Thanks, Ray. Maybe we'll
12 move on now to Doug Lockie.

13 MR. LOCKIE: Well, first of all, I'd
14 like to thank the FCC for beginning this
15 initiative, and I also request that you all keep it
16 going. My experience on this interaction, getting
17 ready for this is it's really valuable to the
18 nation and to the industry. So please keep it
19 going in one form or another, looking ahead to
20 spectrum management as opposed to reacting as we
21 usually have to do.

22 This whole thing about technology and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what's making advances, I suppose you could say a
2 couple of things started in the last 20 years
3 anyway, have really started this. One is going
4 solid state in most of the communication systems
5 and another thing is these doggone computers and
6 I'll say tongue in cheek, it's all Intel's fault
7 and it's all Cisco's fault and I'll come back to
8 that in a minute. And it's a positive feedback
9 thing here.

10 As we went from analog radios to
11 digital radios, there's this huge step function and
12 it keeps stepping on up. And I'll say that in two
13 ways. In the old days in the carrier to noise,
14 carrier to interference ratio, you just had no
15 solution except limit your filter and have lots of
16 signal with respect to the noise or interference.
17 Now we can signal process an awful lot of that
18 away. And that wouldn't be possible without modern
19 cost effective computers. All the computing power
20 we had in the Air Force when I was in it in 1969
21 through 1970 is now today on one single chip coming
22 out of Intel, the Itanium which started off life at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 800 megahertz, now running 200 gigahertz. That's
2 an entire super computer, 64 bits, running on one
3 single chip. We'll probably be able to buy that at
4 Fry's or Circuit City or Radio Shack for \$100 in
5 five or six years, but that's a 320 million
6 transistor chip and you can buy it in a computer
7 today for \$5,000. Huge.

8 Once you got that computing power, not
9 only did it benefit the radio communications, but
10 it also started making it so that we could build
11 antennas that we could either shape the function
12 instead of having a sectorized antenna that looks
13 like this, with a 3 dB window. You can make that
14 antenna now so it looks within a half dB and then
15 the side lobes fall off like a rock.

16 And then, you can use that computer to
17 design practically antennas that have things like a
18 cosecant squared pattern, so that you can make a
19 constant flux from the antenna all the way out to
20 the edge of the pattern which would go a long ways
21 to helping this safety band problem where Nextel
22 went off and put out a whole lot of cell sites all

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 over the country in a cellular fashion and then the
2 safety community finally got some spectrum at
3 around 800 megahertz and they can only afford one
4 transmitter or two transmitters per region, so
5 they're always out at the end of their transmission
6 with a very low signal and you've got all these
7 high powered transmitters, so we could use these
8 cosecant antennas to minimize the amount of power
9 you put on the ground right next to the transmitter
10 and maximize the amount of power you put out at the
11 edge of the footprint and that would go a long ways
12 to helping this.

13 So you've got this combination of
14 computers and solid state and technology feeding on
15 each other, but now let me tell you what the
16 problem is those guys at Cisco and Intel created
17 for us. And Cisco doing the ethernet kind of
18 things. We now need gigabits in the local loop.
19 You used to need a half a megabit, so that you
20 could have a computer talking to the internet and
21 give your screen a refresh. But computers want to
22 talk to other computers at some major fraction of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the computing speed.

2 And today, that's gigabits. So we're
3 flat lined in terms of DSL giving everybody a half
4 a megabit to the internet when your computer is
5 screening for gigabits. So it's a never ending
6 thing of now what we need to take the next
7 generation of productivity forward in the country
8 is to open up the local loop to gigabits so that
9 our computers can talk to each other efficiently
10 and it's never going to stop. It's always going to
11 be an interesting slope to be climbing up, but it's
12 also going to -- should be improving the efficiency
13 of the country.

14 MR. WOERNER: Are the driving factors
15 that you see at that high range of the frequency
16 spectrum, 10 to 100 gigahertz, are they similar to
17 what we're seeing in other regulatory issues at the
18 lower end of the frequency?

19 MR. LOCKIE: You know, it could be if
20 you're in a point to multi-point situation, but
21 once you get to say 20 gigahertz or so, most of the
22 time what you're doing is pencil beams. And let's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 make this 20 gigahertz to 260 gigahertz because
2 that's where the good atmospheric windows are and
3 we've now got the ability to generate radios up in
4 those frequencies.

5 There, what you've got is spectral
6 efficiency probably now starts becoming how tight
7 can you make your beam. And what we know is all
8 the way down to a quarter degree, we don't have to
9 track the antennas in a typical application. So
10 one of the things that probably what we want to do
11 is try to incite, incent people to put as tight a
12 beam as you can which means a bigger antenna and
13 more careful side lobe control, but we now have the
14 computers to design those kind of antennas and take
15 the cost down.

16 So the big thing up in higher frequency
17 is how do we get spatial re-use and maybe we
18 decrease the spectral efficiency at the expense of
19 doing that so that we still have cost-effective
20 systems and then later on as the technology comes
21 along and as the business phase grows, then you can
22 start improving the spatial efficiency in a more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 conventional sense.

2 A point on that, we could do this down
3 at 900 megahertz for cellular. If we could grow a
4 70-foot antenna, we could have a 1 degree beam
5 width. By the time you get to 100 degrees, a 5-
6 inch antenna is a 1 degree beam width. By the time
7 you get to 260 gigahertz, about 2.5 inches gives
8 you a degree and so you can have thousands of
9 antennas at each node and re-use the spectrum, half
10 of that, every other beam, every other
11 polarization, so there's a huge amount that can be
12 done on these higher frequencies for opening up the
13 number of bits transmitted per hectare squared.

14 MR. WOERNER: Maybe we could move to
15 Dale Hatfield?

16 MR. HATFIELD: Sure. Speaking last, a
17 lot of what I was thinking about saying has been
18 said, so let me try to do something a little bit
19 useful, maybe stepping back, just a little bit from
20 what's been said in terms of what does advanced
21 technology enable and the basically what we're
22 talking about in some ways, I think, and this was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 covered in the panels yesterday, of course, is
2 moving a lot of that intelligence out to the edge
3 of the network and getting away from that old hub
4 and spokes, centralized controlled-type system.
5 And there's two things driving that. One is just
6 the internet model itself that if you have the
7 intelligence at the edge, then ordinary folks in
8 their basements or garages can invent services and
9 create new services and we obviously have seen that
10 so that's a driving force for putting the
11 intelligence out there at the edge. And I'm
12 reflecting David Reed and so forth. But the other
13 thing, moving that intelligence out there at the
14 edge enables us to do is be much more dynamic in
15 the way we go around, the way we go about managing
16 spectrum. And that's the intriguing part to me.

17 Ray's already talked about that, moving
18 that intelligence out there. It allows you to do
19 these sort of interference cancellation techniques,
20 cooperating transmitters, all the sort of thing --
21 cognizant radios, all the sort of things that we've
22 heard about. And sitting here looking at Paul, you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sit here on these panels and sometimes somebody
2 says something that changes the way you think about
3 the world. I had one of those at the NTIA spectrum
4 forum. The allocation chart, if you put it up here
5 on the wall, the FCC allocation chart, it's got all
6 these colors and all this balkanization and so
7 forth and somebody then put up where we want to
8 get, the allocation chart looks like this. And all
9 it was was a white chart. And that sort of
10 fascinates me. What it means is that you're moving
11 to a very dynamic, very dynamic system where you
12 can get, where you can pick up this capacity that's
13 available.

14 We all know, everybody knows this. If
15 you put a receiver on top of this building and take
16 a look around, you find lots of spectrum that's not
17 being used at this moment. And this is moving
18 intelligence at the edge, the edge of the network
19 will allow us to capture that, but it requires us
20 to get away from thinking about this rigid sort of
21 spectrum allocation thing that we've had so far.

22 So all I've done is sort of picked up

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on what people have said before me. Moving that
2 intelligence out to the edge allows us to think
3 much, much differently about structure management
4 than we have in the past.

5 MR. WOERNER: Thanks. Just quickly
6 following up on what -- a little bit of what Ray
7 said, I think the way we look at interference has
8 kind of changed in the last several years.
9 Historically, we've looked at interference and
10 regulated it from kind of a worst case standpoint.

11 What are the C to I ratio need to be to make the
12 system work? How low do the interference levels
13 need to be in adjacent bands in order to not
14 produce harmful effects? What some of the new
15 advance technologies we've heard about, look at
16 interference, is more from a statistical
17 standpoint. Is the interference too high from a
18 long term average viewpoint? We've heard several
19 different technologies. Error correction codes
20 that are able -- as long as we don't have a long
21 burst of interference to recover things. Code
22 division multiple access systems that are able to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 handle levels of interference as long as those
2 interference levels over the long term are not too
3 high. Ultra-wide band technologies which
4 potentially have the ability to be kind of CDMA
5 systems on steroids with much higher capabilities.

6 And software radio technologies that we've heard
7 both Jack and Dale talk about that allow us to as
8 long as the whole spectrum isn't full, select those
9 parts of the spectrum that we're interested in. So
10 there's an opportunity to exploit some of these new
11 technologies in this new interference environment.

12 MR. WOERNER: I think at this point it
13 may be worthwhile to open it up for questions from
14 the audience at the end of this segment.

15 (Pause.)

16 MR. REPASI: Okay, well, if there are
17 no questions at this moment perhaps I can move into
18 segment 2 and if there is a question that somebody
19 thinks of during that time and would like to go
20 back at the end of segment 2 and refer to some of
21 the points made in segment 1, that's fine.

22 What I see out of segment 1 was very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 similar to what Brian has just summarized, but I
2 wanted to point out that one thing that I didn't
3 hear as far as driving factors is the end user,
4 what the end user's requirements were. It's
5 interesting that a lot of the statements that were
6 made, people were thinking along the lines of what
7 the interference environment is and what the
8 operating environment is that I'm going into and
9 what can I do to cope or live within that
10 environment and still meet my system design
11 requirements. But at no point did -- having 4,000
12 megabits per second go to the end user come up in
13 that discussion. I thought that was fairly
14 interesting.

15 It's a good lead in to segment 2
16 because now we get to talk a little bit about the
17 characteristics of the systems that are out there,
18 the technologies that are out there. We know what
19 some of the driving forces were in coming up with
20 those, but what exactly are the capabilities? We
21 heard some of the processing speeds, what we expect
22 in the next couple years that we'll see at Circuit

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 City, for example. But I'd like to focus a little
2 bit more on how to deal with interference
3 specifically. For example, are there techniques
4 being used out there in the radio communication
5 systems that bring uniformity to signal wave forms.

6 And to distribute the power a little more
7 efficiently and we heard a little bit about the
8 cosecant squared antenna. We can maybe bring that
9 a little bit further.

10 But taking that perhaps a step further,
11 and looking at the intelligence built into the
12 system in dealing with self-interference and
13 whether or not there's any intelligence in systems
14 today and whether we anticipate there to be in the
15 next couple of years or 10 years out for there to
16 be a way for these systems to detect who's around
17 them causing them interference, causing your system
18 interference and how we would anticipate dealing
19 with that from a system design and try to mix
20 things up a little bit here. Perhaps we'll start
21 with Ray at this time and work our way towards the
22 center of the panel.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. PICKHOLTZ: Yes, I think certainly
2 that's true. I just want to make a comment that
3 there have been lots of improvements in the last 10
4 years. I'll call them naive improvements, things
5 like better filters, beam-forming antennas,
6 Qualcomm's CDMA 1S95. They are naive improvements
7 because they do not extract all the possibilities
8 that are there.

9 Now just sticking with cellular,
10 there's 3G coming up. I don't know if 3G will ever
11 survive. Maybe it will be 4G before 3G comes,
12 third generation. But many of the people who are
13 serious about 3G, especially in the Far East, have
14 actually built systems with more than simply a
15 multi-sector antenna with a very large number of
16 sectors and narrow beams. And more than simply
17 having adaptive filters and adaptive power control,
18 but actually have included some of things I
19 mentioned before, namely true
20 multi-user detectors, that is to say, they're
21 fairly sophisticated devices that recognize that
22 there is a priori knowledge that you can use to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 help you overcome the environment that you and your
2 partners sharing the spectrum are actually causing.

3 It's not as if it was totally unpredictable
4 Gaussian noise. And to the extent that you can
5 take advantage of that, and you can, the technology
6 keeps moving. There are much better building
7 blocks now. We talked a little bit about making
8 software radios. In principle, at least, you can
9 make software radios so that standards and weight
10 forms don't count. You just transmit the number of
11 the particular standard of thousands that are
12 stored in a RAM somewhere and the algorithm for
13 decoding it is right there. So that's in
14 principle. I don't know of anybody who is building
15 that in practice, especially over multi-broad
16 bands. There's, of course, a semiconductor
17 revolution, advanced signal processing, but last
18 but not least, a very deep understanding of the
19 limits of communications. I'm talking about
20 communication theory, that is, what is possible to
21 do and what's not possible to do. How far can you
22 go and how far can you actually -- how close to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 limits can you get and it's remarkable that many of
2 the systems that have been simulated and in some
3 cases put in a laboratory environment, have gotten
4 within a fraction of the dB of the theoretically
5 possible. And I'm not just talking about Shannon.

6 I'm talking about space-time coding which offers
7 the possibility of literally growing spectrum where
8 none existed before, multiplier factors. You know,
9 you have 10 megahertz of spectrum, over 100
10 megahertz and suddenly it's not 100 megahertz, it's
11 several gigahertz of spectrum because you can re-
12 use it again and it's not simply the naive approach
13 of using space by very narrow antenna beams.

14 So those are the kinds of things that
15 are there. The technology is there because of the
16 signal processing capabilities, because of semi-
17 conductor advances and so on.

18 And I just want to make another
19 comment. There are some constraints. I've heard
20 them this morning. There are people who, for
21 example, represent the public safety use of
22 spectrum. And as soon as you say "public safety"

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 especially since 9/11, that becomes sacrosanct.
2 But in fact, I believe firmly that public safety
3 people have an even greater obligation to operate
4 more efficiently because they get more through with
5 less interference in a more corrupted environment
6 which is likely to happen when you have a crisis.
7 So there's an obligation as well
8 -- as well as a responsibility, as well as a right
9 for public safety people using a spectrum to use it
10 more efficiently.

11 I don't want to dominate the
12 conversation any more, but simply say that we have
13 been very slow in adapting innovations, very, very
14 slow. And there are lots of reasons for it, not
15 the least of which is legacy reasons, the lawyers
16 and the economists and all tell us about how --
17 what could be done and what can't be done and the
18 reasons for it. I've read some of the papers.
19 They're very elegantly written and they're almost
20 convincing until you snap out of it and realize
21 that there are other ways of looking at things.

22 I'm an engineer. I started my career

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 working on -- in the beginnings of NTSC color
2 television. And although it doesn't show by my
3 gray hair, it shows by my no hair.

4 (Laughter.)

5 And I started by designing color
6 television sets, and in fact, I have an old one
7 somewhere that still works with the signal today
8 and has all kinds of ghosts and all kinds of
9 bleeding of the colors and so on and one could say
10 well, we really can't do anything because there's
11 so much of an investment of these hundreds of
12 millions of sets that are sitting in attics and
13 basements and other things that are -- you can't
14 change those things overnight. But the Commission
15 has to find ways of making rules, if nothing else,
16 some kind of a gradual transition to implementing
17 new things. The thing that comes to mind that is
18 perhaps most impressive to me as a young engineer
19 that NTSC was a compatible system, that is to say,
20 if you had a black and white set, you could also
21 receive color if you had a color set, but you could
22 also see -- and there's at least one other system

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that I confess in full disclosure that I'm involved
2 in and that is IBOC, the in-band, on-channel AM and
3 FM broadcasting system which allows people to
4 continue to use their crummy old analog FM and AM
5 receivers. By the way, AM and FM radio and
6 television are the last holdouts in the whole
7 electronics world. So if the Commission can make
8 sure that innovations can handle those transitions
9 while allowing innovations to be introduced at the
10 same time, that would be great. And I have some
11 ideas along those lines. I'll save them for later.

12 MR. REPASI: Thank you, Ray. I think
13 that your points are well taken on the differences
14 in the services too. I think that in panel III
15 this afternoon, we may get into a more in-depth
16 discussion about the driving forces for some of the
17 specific services that the Commission regulates.
18 And broadcasting is one of those services where
19 there might be some capabilities in other
20 communications services that you're not able to
21 extrapolate those same types of benefits into some
22 of the other services. Legacy equipment is one of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those factors.

2 Doug, how about you? Could you offer a
3 few comments on this subject?

4 MR. LOCKIE: Well, I'll go back to this
5 never ending cycle between processing power and
6 what it does to and for us. I look at a lot of
7 business plans. I haven't made my investors any
8 money yet, so in exchange I look at a lot of
9 business plans for them. And please God, let the
10 market go up one of these days.

11 At any rate, and we're seeing business
12 plans coming through now with 1024 QAM, 2048 QAM,
13 10,000 PSK kinds of modems and -- sorry. That's my
14 Palm and my phone. At any rate, your first
15 reaction is put these guys into the loonie bins,
16 guys and gals. And then you go through the thing
17 and say well, they're just taking digital
18 processing and we've got all this process
19 capability going on in general purpose computers,
20 but if you go in and do a pipeline computer based
21 on say maybe an FPGA, you can take 10 instruments
22 and stick them into the knob of the instrument and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 by the time you click from one channel to the other
2 on say a spectrum analyzer or a network analyzer or
3 a bit-error rate tester, you've loaded a new
4 program into this FPGA and it's become a pipeline
5 process that maybe has a 100 to 1,000 times more
6 processing power than the previous general purpose
7 computer there. Where does it all stop? But the
8 interesting things that these modem companies are
9 doing is that okay, we can't build the oscillator
10 that's clean enough to support 10,000 PSK and the
11 digital processing guy says that's okay. I'll
12 equalize out the noise in your oscillator. You
13 just give me 2/10ths of a nanosecond delay which
14 maybe is an antenna that's spaced that far apart
15 and the signal coming in, I'll listen to what the
16 oscillator is doing buried down there in the data
17 stream and I'll equalize out the noise in the
18 oscillators. Now you use a crummy old dirty
19 oscillator and still have your 10,000 PSK. Maybe.
20 And they'll do the same things in the
21 nonlinearities in both propagation path and in the
22 amplifier generating the signal. So there's all

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that stuff coming along. Well, as that's coming
2 along, you could be building that into variable
3 rate modems that adjust to whatever the spectrum is
4 doing, whatever the noise environment is doing.
5 One interesting thing though and I want to point
6 this out to the FCC, you guys have got a lot --
7 guys and gals -- have got a lot of power out here
8 and maybe once in a while you need to practice a
9 little tough love. Now with this -- and I'll use
10 broadcasting as probably the largest number, what
11 have we got? Several hundred million TV sets in
12 America and one of the little things that hangs us
13 up on going forward is the factories that are there
14 to design the analog front end. It's a discrete
15 thing and it costs \$10 or \$11, but it's still an
16 analog front end. It's remarkable what the
17 factories in Taiwan and Thailand, wherever, do to
18 automate or not automate the front end of a TV set,
19 but we've still got a front end on a TV set that's
20 this big by this big by this big and it's got 80
21 analog discrete components, filters, passers and
22 stuff. It could be a chip the size of the tip of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 your pen. And probably will be in a few years.
2 And so one of the things the FCC could be doing is
3 saying, 5 years from now, 8 years from now we're
4 going to be with a digital front end that has all
5 these capabilities in it in terms of interference
6 mitigation and you've got 5 or 6 or 8 years to do
7 it and if you haven't done it by then, we're going
8 to audit your taxes or something.

9 (Laughter.)

10 There's a lot of ways that you can
11 incite and incent people to go out and work on
12 these things, but -- well, so there's a lot of
13 other things you can do in the analog world as
14 well, but never to downplay, gee, when you buy your
15 TV set you also, you also buy a cellular and a wi-
16 fi and an ultra-wide band and the capability is
17 there to make this stuff to go off and happen and
18 it will happen over a period of time, but there's
19 probably a lot we can do to skootch it along
20 faster, with some gentle suggestion and rules.

21 MR. REPASI: Your gentle suggestions
22 are well taken.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Dale, how about you?

2 MR. HATFIELD: I'll be very brief. I
3 would again, as I did in the last panel distinguish
4 between the situation where the improvements
5 benefit the licensee, like in cellular where if I'm
6 more efficient, I can put in more subscribers and
7 make more money. In a situation where we have, for
8 example, in television where that control is not
9 exercised, and I think there particularly, the
10 advice that the prior two panelists gave, the
11 Commission being a little bit more aggressive is
12 probably well taken. I'm -- here again, people
13 have heard me say this so many times, but I'm going
14 to say it again is in 1977, something like that,
15 when was it? We had an RF monolithic study and it
16 showed that if the Commission at that time had
17 stepped in and just tightened up the selectivity a
18 little bit on television sets, we would not have
19 the problem we've had today. In fact, we could
20 keep the analog, we could recover, we could recover
21 that spectrum, had the Commission stepped up to it.
22 Now I'm not saying whether at the time that was a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 good or bad decision because you multiply a couple
2 of bucks times the millions of television sets that
3 have been made here, that is real money. But it
4 illustrates, I think, it illustrates where the
5 Government could, especially where the benefits
6 don't accrue to the licensee, could step in and
7 have some real strong benefits. I'll just repeat,
8 we wouldn't be having the difficulties we have
9 today over that price spectrum if the Commission
10 had gone ahead.

11 I'm not attacking anybody, I was
12 actually here at the time at the Commission during
13 part of that and there was pressure, receiver
14 manufacturers didn't want the extra costs. There
15 were problems with the Communications Act, did we
16 have jurisdiction, the ability to require receiver
17 specs. But I'm just reinforcing what I heard. I
18 think the Commission can, without intruding too
19 much in the marketplace, have a real positive
20 benefit here in terms of recovering spectrum that
21 we so desperately need.

22 MR. REPASI: Thank you, Dale. I think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that one of the purposes of these workshops and the
2 Spectrum Policy Task Force in general is to have
3 guidance available to us at the Commission so that
4 any decisions we make today are the best decisions
5 we can make that will be still relevant 10, 20
6 years from now and still working fine.

7 Why don't we go to the other end of the
8 table and start with -- and begin, continue on with
9 Jack Wengryniuk on what his views are from the
10 satellite perspective, what is done on the
11 satellite side as far as dealing with the
12 interference environment or the operating
13 environment when new applications, for instance,
14 are -- you want to deliver new applications to the
15 public, what do you have to go through on the
16 satellite system operator to adjust to the new
17 environment.

18 MR. WENGRYNIUK: Well, you also asked
19 about the, sort of the equalizing of power, the
20 interference environment and what has happened in
21 that regard.

22 Satellite systems by their very nature,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are spraying down power from space and so you're
2 getting more or less a uniform distribution of
3 power across the surface of the earth which is from
4 a satellite sharing with satellite perspective is a
5 good thing, because you don't have the kind of hot
6 spots that you might have in the terrestrial world.

7 The transition from analog to digital
8 communications, the virtually wholesale transition
9 from the old TVFM or FTMFM types of signals which
10 had highly variable power spectral densities, as
11 you were to scan across the spectrum, to the
12 digital world where you have a more or less uniform
13 distribution of power, even for different bandwidth
14 carriers because it automatically scales the power
15 to the energy per bit, has helped to sort of again
16 normalize the interference environment amongst
17 systems and within systems, the intra-system
18 interference as well. The types of advances that I
19 spoke of earlier in the satellite world with high
20 levels of frequency re-use, dual polarization,
21 etcetera, have increased the levels of intra-system
22 interference that the satellite network provider

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 has to deal with.

2 One of the difficulties that we see
3 certainly in the satellite world with the
4 introduction of new services and part of this is
5 driven by the advances in digital communications as
6 well, or the digital processing power is you take a
7 signal and you encode it as much as you possibly
8 can so that it uses as few bits as possible to
9 transmit the communications channel or as small
10 bandwidth as possible. The problem with that is is
11 that system now becomes highly susceptible to
12 errors because you have a lot of interdependency
13 from one bit to another because you're taking
14 advantage of the redundancy and the signal that
15 you're encoding. And so whereas for a voice
16 signal, you may be able to tolerate to talk in
17 technical terms, bit error rates of 10^{-3} . For a
18 video highly encoded video transmission, you may
19 require 10^{-6} , 10^{-7} bit error rate. So you become
20 much more susceptible to interference of the same
21 types of things that you're doing to improve your
22 spectral efficiency and in some cases reduce the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 amount of interference you may cause to yourself,
2 also make you more susceptible to interference. So
3 there's this balancing act that's continually at
4 play and of course, all of this is happening on top
5 of or beneath the desire of the satellite provider
6 to provide as much service as possible to the
7 public as low a cost as possible and of course, to
8 make as much money as possible. So it's this
9 balancing act of all of these sort of competing
10 forces in trying to find out what is the best point
11 at which to strike that balance in the provision of
12 service.

13 MR. REPASI: Thank you, Jack. Yes one
14 of the tradeoffs, I think in the design of
15 satellite systems too is there's only so much
16 energy you can soak up from the sun. And the trade
17 offs are between power and bandwidth. We're going
18 to higher orders of modulation or error correction
19 and so forth. That all requires more power or more
20 bandwidth. You've got some tough choices, I think,
21 in that type of environment.

22 Jack Rosa, from a software defined

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 radio standpoint, what do you see kind of being the
2 next step in what SDRs would be able to offer as
3 far as playing a role in system, communication
4 system design as far as mitigating or eliminating
5 interference to improve performance?

6 MR. ROSA: As I said before, the
7 capabilities are there to solve many of these
8 issues. What I heard several times, in fact, was
9 that we are slow to adopt. We are slow to progress
10 and so forth. And in some cases some people
11 believe that wave form complexity is beginning to
12 out pace Moore's law, so we need the next step and
13 the next generations of technology to get there.

14 To get to the bottom line, I think the
15 most significant thing the FCC can do is to become
16 a proactive player in advancing the course.
17 Business models will take care of themselves. It's
18 interesting. To pick up where Jack left off, is
19 that in satellite communications you pay for
20 bandwidth. You pay for power, okay? And people --
21 you optimize those tools. You get the right amount
22 of power and bandwidth, so you don't pay any more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 than you need to. And then you try to get the best
2 you can out of that, what you just paid for.

3 So the economic factor draws that
4 equation, that is, if I can get all the bandwidth I
5 want, why do people want to go from digital analog
6 radio. I don't like the digital TV system, because
7 now you can get three or four in one transponder
8 rather than have just one transponder being in your
9 life. So there's lots of opportunity here to move
10 forward. Those are just modest -- those are what
11 you call the no brainers. We knew how to do that
12 years ago. But there's a lot more to be gained,
13 significantly more to be gained and so even in
14 spite of the attempts of Mr. Gates and Cisco to
15 push this to the edge which is the opportunity, I
16 believe the potential, the technology that exists
17 today or is being developed today to deal with
18 every one of these problems. Spectral management.

19 If you had a fast enough machine you could monitor
20 the spectrum continuously. You could put in
21 intelligent controllers, so-called bandwidth on
22 demand. That technology can be accomplished now.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 From every aspect, from adaptive antennas to -- the
2 technology exists to solve all these riddles. And
3 it's -- I think the role FCC can play again is to
4 do -- take actions proactive actions, be proactive
5 and try to support the development of these
6 technologies. The economic gains will come later.

7
8 In addition to that, you should
9 consider and maybe I'm jumping ahead to the next
10 activity which is incentivize people to do it.
11 It's not going to happen naturally and when there's
12 economic gains to be made you can do it.

13 I had some slides I wanted to show.
14 For instance, it is possible, for instance, to take
15 transmitters and almost totally purify them,
16 directly at RF. It's possible to build
17 correlation-based maximum like modulators, okay?
18 The optimum filter, the textbook -- it's possible
19 to build spectrally pure carriers, okay? All these
20 techniques are available, but it's all invested in
21 the next generation technology.

22 Software-defined radio will give you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the maximum flexibility where wave forms are
2 defined by numbers. It's not quite -- Defense is
3 moving in that direction, but it's not quite down
4 to just punch a number in. But if you know what
5 the template is of the wave form, and very complex
6 wave forms too, by the way, they're dealing with 30
7 wave forms, some of which are incredibly complex,
8 hopping inside of half inch bandwidth is not a
9 piece of cake. But it's possible to do it. Very
10 possible. In fact, it's do-able. We know it's do-
11 able.

12 But somebody has to advance the cause.
13 In that case, you have a monolithic structure. It
14 is now, at least. They formed the Joint Office to
15 make this happen. They're going to spend several
16 billion dollars to prove they can do it, okay?
17 There is no corresponding monolithic situation, I
18 think in other areas, there's a semblance of it.
19 Maybe FCC can be the driving force that puts that
20 together and it becomes a monolithic force that
21 makes it happen.

22 MR. REPASI: Thank you very much, Jack.

1 One of the things that we haven't touched on in
2 this panel and I don't expect to is the -- whether
3 or not complexity, system complexity equals costs.

4 I mean we take something from a Defense-oriented -
5 - when you take something that billions of dollars
6 have been invested into the research and
7 development of software defined radio, for example,
8 but you take that to the commercial side, that, I
9 think is a pretty difficult transition, something
10 that we'll be facing at the Commission as well.

11 At this point, I'd like to open up the
12 panel to the public for comments if they have any
13 comments or questions for the panel here.

14 Yes sir, in the back.

15 MR. STEVENSON: Thank you, Carl
16 Stevenson. I'm with IEEE 802.18 and I work Gear
17 Systems. I'd just like to echo what Mr. Lockie was
18 talking about before in terms of reducing
19 interference and even improving spectrum efficiency
20 by sort of holding incumbents feet to the fire a
21 little bit in terms of keeping up with technology.

22 As it goes right now and the example of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 television, with NTSC was a prime example. There's
2 been many, many years where you've had a legacy
3 system that's essentially been protected from
4 needing to make any progress towards more efficient
5 use of the spectrum just because of the fact it was
6 there.

7 I'd also like to comment on what Mr.
8 Hatfield said earlier in terms of starting to lean
9 towards receiver standards. Receiver standards, at
10 a minimum, give you the ability to figure out what
11 you have to protect against in terms of being able
12 to share spectrum with incumbent users. And while
13 I don't believe that legacy receivers should
14 receive indefinite protection against anything new
15 that may come along, I recognize the fact that you
16 can't force the issue too rapidly. The transition
17 can't be draconian. It has to take into account
18 reasonable equipment life cycles and so forth. But
19 you also need to recognize that the upgrades to new
20 technology will also provide benefits to the users
21 that are required to keep up with the times.

22 Thank you.

1 MR. REPASI: Thank you. Questions?

2 DR. KOLODZY: Paul Kolodzy. I have a
3 question for the panel that you might be able to
4 address since this is technology. You have
5 possibly two ways to look at interference. One is
6 technology in which to avoid interference and the
7 other one is technology to mitigate interference or
8 to deal with it, to handle it within your systems.

9 What I don't understand, I hope the panel can
10 comment on is number one, is which way, where is
11 technology really leading us and where would you
12 see our first sets of advantages or advances that
13 could actually help in the area of interference?
14 Should we be putting more emphasis toward trying to
15 avoid it or should we be putting more emphasis on
16 how to mitigate it?

17 MR. REPASI: Anybody want to answer
18 that?

19 DR. PICKHOLTZ: I think the answer is
20 both. It depends on the circumstances. Some of
21 the comments I made about the new technologies that
22 are there to not only mitigate it, but possibly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 eliminate it, apply primarily to those situations
2 we are operating a common shared spectrum in a
3 multi-user environment so that you know something
4 about the nature of the interference you're trying
5 to either eliminate, avoid, mitigate, use, what
6 have you. There are other circumstances where the
7 only thing you can hope to do in a short period of
8 time is to minimize the amount of interference
9 that's generated. That's the traditional point of
10 view, putting masks on transmitters and things like
11 that. But even those in principle, the first one,
12 the first category is not in principle. The first
13 category is something that we can actually
14 implement today and people are implementing it.
15 And the bottom line is, in fact, economics. You
16 don't implement it because -- they're not
17 implementing it because there's some FCC edict
18 that's telling them they've got to do this in order
19 to operate more efficiently. Since their revenue
20 stream is dependent on having a spectrally
21 efficient system, they actually get more for what
22 they have or what they've purchased in the event of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 an auction. So some of the most sophisticated
2 techniques that are yet to be seen in the
3 environment of the general economy, are fairly
4 imminent. That is, those systems that operate in a
5 multi-user environment. And I might add, although
6 I mentioned satellite -- cellular -- I think
7 satellites might fall into a similar category
8 because you can have interference sharing between
9 spot beams and similar things. It's essentially
10 the same idea.

11 So the question then leads to what
12 could be done, what kind of techniques. I had a
13 bunch of slides, but I'm not going to do that.
14 There is a body of techniques that are ready and
15 waiting that are well within the capabilities of
16 the current technology to exploit. In some
17 instances, perhaps mostly in legacy systems where
18 there's no incentive to exploit them it's going to
19 take a while unless there's a push by the
20 Commission to do it.

21 But the bottom line question is, and
22 I'd like to take this up because I think there's a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 need to say it, of what the Commission can do in a
2 larger sense and I think it depends very much on
3 the nature of the services that are being used.
4 For example, I personally think that the Commission
5 ought to expand the unlicensed bands and there are
6 plenty of places I can tell you where there's a lot
7 of wastage, because the unlicensed band has a nice,
8 neat idea of -- it's a Darwinian system which it's
9 almost like the invisible hand of Adam's where the
10 survival of the fittest encourages people to use
11 the most advanced technology to not only exploit
12 the most that they can get for themselves, but to
13 avoid the deleterious effects of the other people
14 using the spectrum. And I would like to see more
15 of that. There's, of course, a lot of people
16 around who would not like to see that, but I think
17 that there's a lot of merit to that.

18 I also think that the Commission can
19 press those users who up until now have had no real
20 economic or other incentive to improve, to share
21 the burden of making themselves more spectrally
22 efficient. And by the way, most spectrally

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 efficient does not automatically imply, as I sort
2 of heard a sense of that, not only imply a
3 degradation of performance. If you compress
4 signals and then properly encode them, you're going
5 to get both a reduction in the amount of bandwidth
6 that you use or another way of putting it a larger
7 spectral efficiency and at the same time get a
8 greater performance value as measured by any
9 measure you want, frame error rate, bit error rate
10 or other means, subjective or otherwise.

11 And there are certain things that are
12 different like broadcasting. I have already
13 mentioned NTSC. There's got to be a little bit
14 harder push on the part of the Commission to speed
15 up digital broadcasting and by that I mean things
16 that are already in place like digital television,
17 HGTV, but also radio broadcasting which is already
18 started with XM and Sirius, but soon, hopefully,
19 IBOC, which is right in the current radio spectrum.

20 And then finally, the thing that will
21 make it possible, and this is very controversial,
22 maybe the next President or the current President

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 should appoint as the next Commissioner an engineer
2 on the Commission.

3 (Laughter.)

4 MR. REPASI: Thank you, Ray.

5 (Laughter.)

6 MR. REPASI: I think we would agree on
7 the panel that -- not about the next appointment of
8 a Commissioner --

9 (Laughter.)

10 -- but agree that dealing with
11 interference and the interference environment is a
12 two-sided process, one you want to mitigate it from
13 the transmitter standpoint, do what you can to make
14 your system as clean as possible so that other
15 users in your band and other users adjacent to your
16 frequency band aren't impacted by your operations.

17 But at the same time, you want to look at what can
18 be done on the other side of the system to figure
19 out what can be done on the reception side to avoid
20 receiving interference from other users in the same
21 spectrum and other users in the adjacent spectrum
22 and I think that's one topic in segment III that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we'd like to pick up in the next 10 minutes or so.

2 MR. WOERNER: Yes, I think Ray's
3 remarks really lead into that. There is certainly
4 a huge variety of very sophisticated signal
5 processing techniques out there and they do a very
6 good job of coping with self-interference. They
7 are capable of interfering with legacy systems.
8 And I guess the final question we want to pose to
9 our panel is how the FCC rules affect technology
10 and development. Are there -- is there a
11 sufficient push to improve the performance? Is
12 there a sufficient pressure on legacy systems and
13 we'll go down our panel and we'll start here with
14 Jack.

15 MR. WENGRYNIUK: Well, again, from a
16 satellite perspective since that's the only
17 industry I've worked in for 25 years, the FCC's
18 rules, certainly over time, have evolved such as,
19 in my opinion, to push satellite systems. Take for
20 example the KA band where you've got a requirement
21 for 2 degree spacing, a requirement for use of
22 adaptive power control, a requirement with the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 FCC's rules to essentially tolerate an
2 interference-limited environment. Certainly, with
3 the desire to get as much, to squeeze as much
4 capacity out of the geostationary orbit and to use
5 the geostationary orbit as effectively as possible,
6 the FCC's rules have, in fact, in my opinion,
7 pushed satellite providers where they probably
8 wouldn't otherwise have gone because of the costs
9 and technical complexities involved. So in that
10 sense I would say that the Commission's rules, have
11 in fact, pushed the satellite industry.

12 MR. WOERNER: Historically, most of the
13 regulation has primarily focused on the
14 transmission end where -- what signals can be
15 admitted and what bands, to what extent do you
16 think it is appropriate to regulate the receiver
17 side of the system?

18 MR. WENGRYNIUK: Well, certainly, this
19 is speaking personally now, I believe there is a --
20 there should be a responsibility on the part of the
21 receiver to take reasonable steps to protect
22 themselves from interference, proper filtering,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that sort of thing, to suppress adjacent band
2 signals. There's only so much you can do with
3 interference that occurs within your band.

4 Dr. Pickholtz spoke of some of the
5 things you can do if you had some a priori
6 knowledge of where the interference is coming from.

7 But when it's coming from a different service or a
8 different system that you have no knowledge of,
9 there's only so much that you can do to mitigate
10 that.

11 In the satellite area again, because of
12 the very nature of the service, we're receiving
13 very weak signals from space. We tend to have
14 fairly sensitive receivers and fairly high quality
15 receivers. Even in the consumer market, there's a
16 certain quality standard that has to be met in
17 order to get any sort of a reasonable quality of
18 signal out. So in that sense the satellite
19 industry is almost self-policing, but certainly
20 from a broader sense, I would think that there
21 should be some consideration given to receiver
22 standards.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WOERNER: Great. Jack Rose, maybe
2 you'll share some perspectives on the implications
3 of this discussion for regulation.

4 MR. ROSA: Maybe I can address a couple
5 of points that were made along the way and pick up
6 on them. I think it's time, I think it's radically
7 time to move from what I would call the myopic view
8 to a holistic view. The FCC is predominantly
9 focused on taking care of transmitters. In fact,
10 the definition up there was sort of archaic. So
11 it's time to move on to the -- what the environment
12 is today.

13 And we need to look at both. We have -
14 - if you want purified transmitters and making the
15 receivers less susceptible and the technology again
16 exists to do both of those. And there are optimum
17 gains to be made. Now one of the two things that
18 the FCC can do. The one point I tried to make
19 before was this perception that high tech, next
20 tech is going to cost more. The indications, in
21 fact, are it's going to cost less. In fact,
22 dramatically less. I don't mean just 10 percent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 less, maybe half to one third, one fifth of what we
2 pay today for systems. So the expectation, by the
3 way, of the Defense Department, if you pile up all
4 the radios they buy, you're talking big bucks.
5 Anyone who wants to buy one for \$50,000 that does
6 all these tricks and it's a cheap one. So the art
7 and the science exist to get there. They exist in
8 the commercial world and exist in the Defense
9 world. But are the incentives to go and do this?
10 That's what the question is. Why would I want to
11 move forward. I see this as two components. One
12 is the FCC again taking the homogenizing this and
13 becoming the driving force to accelerate the
14 course, to cause it to happen sooner rather than
15 later. Let's get proactive rather than reactive,
16 my message there.

17 Second is just business sense. You
18 must have incentives. And maybe some simple things
19 like a -- how much you spread into other spectrums
20 is a function of your licensing thing. I've got a
21 simple picture that's at a level and if you get to
22 this level, you pay X dollars a month and if you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 get to this level, you get -- maybe at some point
2 you get y dollars back, in fact.

3 (Laughter.)

4 Penalties and incentives, if you will.

5 You can readily determine what those thresholds
6 are, okay? It's not rocket science either, by the
7 way. It's very simple. You make the penalties and
8 incentives attractive enough that a reasonable
9 business man will make a no brainer decision. In
10 one year, if I can get my money back, then I'll go
11 do it. See? You need to have something that makes
12 sense from a business aspect.

13 I think in issues like that which I
14 know are -- these are dramatic from the way we
15 behaved in the past is what it's going to take.
16 It's going to take some radical departure from
17 conventional thinking, to accelerate -- to speed up
18 the film, to accommodate what the world wants.

19 MR. REPASI: Dale, do you have a few
20 brief comments?

21 MR. HATFIELD: Since I was on two
22 panels, I'm going to yield my time to my

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 distinguished colleague to my right, except for
2 making one -- I have to say that maybe we ought to
3 look at sort of interference trading rights to just
4 like you have pollution trading rights.

5 (Laughter.)

6 There may be some opportunity here, but
7 to people at the edge to say gee, it's cheaper for
8 you to fix it than it is for me and I'll pay you to
9 fix it.

10 We may want to allow some economic type
11 forces to get into that trading as well.

12 MR. LOCKIE: I have two comments here
13 and before I ought to pass off some credit for
14 them. Often, we come up from Silicon Valley to the
15 FCC with some ideas, you know, and often we end up
16 in Mike Marcus' office because, particular
17 millimeter wave community and often he offers us
18 another suggestion that is maybe one or two or
19 three or 20 dB better than the idea we walked in
20 with. So Mike, I'd like to thank you for all your
21 help over the years in passing off ideas. Some of
22 this stuff is yours.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Two things, one I recommend that we
2 look
3 -- there's a lot to be said for the old -- a lot to
4 be said for software-defined radios and all this
5 stuff that we can do in the processing world to
6 make things better. There's still no substitute
7 for antenna gain and side lobe control and
8 frequency control to orderly fashion reuse spectrum
9 and make things better. So not to downplay that,
10 just build on top of it. But along those lines, I
11 think there's one thing we really want to explore
12 and we're pushing this in the NPRM 7181 and 92
13 gigahertz is electronic filing and electronic
14 coordination. This is another example. When we
15 got computers now that for 500 bucks, you can buy a
16 computer that can keep track of all the spectrum
17 and every transmitter received around the world, so
18 I would suggest a couple of things. We take a page
19 from the radioastronomy community and the way we're
20 doing filings there that every geographical area is
21 a website, heartbeat. And that every new license
22 coming in has it's own URL and with V6, Version 6

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of the internet with unlimited numbers of
2 addresses, it's a heartbeat.

3 In the process of all that, and some of
4 you want to take a look at some nice things going
5 on, go look at Donald Draper's software. It's
6 nascent. You need batteries, you need some
7 assembly and don't do it just at home, but this is
8 a beautiful example of very cost-effective mapping
9 software and electromagnetic software that we
10 should be able to build on top of that and not have
11 to waste \$3,000, \$4,000 or \$5,000 per filing doing
12 this coordination. Phone calls back and forth,
13 missed calls, a lot of expense tied up there. We
14 ought to be able to minimize that down to a few
15 hundred dollars per site license. I recommend we
16 look at that some more.

17 The other thing is I recommend that the
18 FCC start looking at what are the basic physics of
19 each spectrum band and what it's good for and I'll
20 make a suggestion here and I hope Jack Valenti
21 doesn't put out contract on me here, but two of
22 the most valuable chunks of spectrum according to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 physics for mobility for 3G, for 4G, for 5G, is VHF
2 and UHF television. Now it's also some of the most
3 important spectrum in the country in terms of
4 keeping the economic base going, because that's how
5 you get a pair of jeans to cost \$90, 50 percent of
6 it goes to advertising, but at any rate, if we
7 could figure out a way, if there was a way to get
8 the VHF and UHF broadcasting community to say hey
9 wait, I'd like to give back my spectrum and get
10 some of this new stuff, and I have a suggestion for
11 what that might be and probably other folks will be
12 able to come up with better ideas, but if we went
13 off and built a satellite with about a 300 or 400
14 foot antenna, can't do that today, because it's
15 just too hard. A rocket is only 12 feet wide at
16 the top and the antenna is limited to 12 feet if
17 you want a cheap satellite. But we can build
18 antennas today a couple hundred feet in diameter
19 and we can probably expand that out to 400 or 500
20 feet and if you had an antenna that big, you could
21 have a thousand simultaneous spot beams. Now if
22 you had a thousand simultaneous spot beams and with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that kind of antenna gain, you only need a quarter
2 watt drive in each one of them instead of 25 watts.

3 Well, you could have power up for 10 watts or to 5
4 watts on each one of those and so you'd pick up 15
5 or 18 dB of link margin for when it's raining and
6 it's only about 10 percent of the country has got
7 rain going on at any one time so the satellite's
8 average power would remain pretty constant and you
9 could go to 62 QAM or 256 QAM and so you could have
10 100 channels for local broadcasting and every spot
11 beam. You could have 100 channels of educational
12 and you could have 800 channels of video that's
13 just what we're watching today and you could
14 probably upgrade it all to HDTV as we went from 256
15 QAM to 1024 QAM.

16 So I think there's a lot that we could
17 do in terms of not sponsoring, suggesting or
18 catalyzing ideas like this to take back some of the
19 spectrum that's maybe being not wasted, but not
20 optimally used in terms of what the physics would
21 like you to do with it.

22 Before you laugh me off the stage, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ran this by Tony Tether, the other night and I said
2 Tony, what do you think of this and he said we've
3 already done far more than that. I said oh, that's
4 interesting. How do we get you to DARPA to get
5 involved with this? We'll make it a software
6 developed, defined radio and that would be all
7 behind you. So now I'm going to modify my
8 satellite to make it also software defined and then
9 we get DARPA involved in it as well.

10 (Laughter.)

11 A couple of thoughts.

12 MR. REPASI: Well, maybe I can open it
13 up. Does anybody have any closing thoughts?

14 DR. PICKHOLTZ: Well, I have another
15 alternative to the VHF/UFH buy out. Buy them out
16 and give them a fair charge to make it compatible
17 with cable system. I have a Yagi on my roof I
18 haven't used in 10 years, so cable is pretty good.

19 Not as good as it should be, but it's pretty good.

20 I just want to say one closing comment.

21 This comes from my favorite editorial, way before
22 the FCC was formed. It's a lesson from the past.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 It's form the Boston Post, 1865, probably some of
2 you know it. "Well-informed people know it is
3 impossible to transmit the voice over wires and
4 that were it possible to do so, the thing would be
5 of no practical value."

6 (Laughter.)

7 MR. WOERNER: I'd like to thank our
8 panelists and hopefully the predictions made today
9 are a little more accurate than that one.

10 (Laughter.)

11 I think it's going to be an interesting
12 discussion after lunch, I think on the regulatory
13 implications to some of this.

14 MR. REPASI: I'd like to make a couple
15 closing remarks too. I think that the Boston Post
16 article was on point because it mentioned wire
17 line. It didn't say anything about wire less.

18 (Laughter.)

19 Wire less possibility --

20 MR. WOERNER: There's another saying
21 from Marconi, but I won't go there.

22 (Laughter.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. REPASI: I too want to thank the
2 panelists for coming from all over the country
3 basically to participate in this very nice effort
4 to have you guys here. I also wanted to point out
5 that we've got about an hour, or a little bit less
6 than an hour before the next panel will start, if
7 everybody could be here at 1:30 to reconvene for
8 Panel 3. Dr. Tom Stanley will be co-moderating
9 that with Chuck Jackson, so a lot of exciting
10 things to continue on with in the afternoon
11 session.

12 Thank you.

13 (Applause.)

14 (Whereupon, at 12:30 p.m., the workshop
15 was recessed, to reconvene at 1:35 p.m.)

16

17

18

19

20

21

22

1
2
3
4
5
6
7
8

1 A-F-T-E-R-N-O-O-N S-E-S-S-I-O-N

2 1:35 P.M.

3 MR. STANLEY: Welcome to Panel III of
4 this look at interference protection. Earlier
5 panels picked up the subject of interference
6 challenges and also what advanced technologies can
7 do. Here, we're trying to focus at something a
8 little bit differently. It's a look at the
9 regulatory process, what we do with interference.
10 The FCC really doesn't design radio systems. We
11 really design regulatory systems that people design
12 radio systems within.

13 So what we'd like to do here is kind of
14 look at our own regulatory process and how we
15 manage the interference function.

16 The FCC actually touches -- using
17 interference, touches a wide array of activities.
18 For example, not just allocations and sharing,
19 where which services can fit with which and what
20 services can actually share the same bands where
21 interference protection is fairly obvious. But in
22 our definitions of service rules, how flexible we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 can be, but also licensing and coordination, the
2 actual site by site coordination of facilities to
3 include even international ones and even an
4 enforcement. And let's say the lives of people we
5 touch, it's not just existing services that are
6 trying to grow and existing services offering new
7 features, but also new ideas coming to the
8 marketplace, people trying to seek establishment in
9 the telecommunications world.

10 All these basically come back to
11 interference protection to some degree and the
12 FCC's ability to define it and enforce it.

13 Let me introduce our panel of that
14 broad array of people whose lives we touch. I
15 think we have most of those dimensions with us
16 today. But first let me introduce my co-moderator,
17 Chuck Jackson. Chuck is a well-known
18 telecommunications expert in the Washington area.
19 It's probably not widely known, but actually
20 Chuck's Ph.D thesis, as I recall, actually touches
21 on spectrum management going way back --

22 DR. JACKSON: Don't tell them how far

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 back.

2 (Laughter.)

3 MR. STANLEY: All right. Let me
4 introduce the panelists and I'll do it
5 alphabetically, I guess, starting on my right.
6 Phil Barsky is regulatory spectrum management and
7 systems engineering consultant for XM Radio. XM
8 Radio, as we've heard earlier, is one of two
9 licensees that offer digital radio service in the
10 United States.

11 Steve Baruch is a member of the law
12 firm Leventhal, Senter & Lerman. Steve is also a
13 very familiar face here at the FCC. Steve
14 represents a variety of satellite entities. We see
15 Steve a lot also in particular in some of the ITU
16 preparation work. I mean, I think of V band and I
17 think of Steve Baruch. He just kind of goes
18 together.

19 Also Mark Crosby. Mark is the
20 president of Access Spectrum. Access Spectrum is a
21 very important and new development, relatively
22 speaking, in the Commission's process of looking at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 different ways of getting people access to the
2 spectrum. In addition to that, and we'll get back
3 to the guard band manager idea a little bit later,
4 Mark actually was president of ITA before the name
5 changed to then CERCA. So actually he has a long
6 and deep history of involvement with the frequency
7 of coordination process.

8 Dave Hageman. Dave comes to us, he's
9 vice president of operations, wireless operations
10 at a company called Poka Lambro Telecom. And
11 that's actually a wireless cooperative in the
12 middle of the country. And I'm going to ask him to
13 tell us a little at the right time what that stands
14 for. Dave brings some of what I call the rural
15 perspectives of wireless operators to the table.

16 Nancy Jesuale brings the metropolitan
17 orientation to the table here. Nancy is director
18 of communication services for the City of Portland.

19 Richard Smith, spectrum radio
20 management consultant. He's a consultant who, I
21 guess, spends a great deal of time traveling
22 recently. Most of us know Dick. He was the chief,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 our top cop for enforcement in what used to be
2 called the Field Operations Bureau and later ran
3 the Office of Engineering and Technology.

4 And John Storch is executive director
5 for engineering and technical operations for
6 Western Wireless, a wireless carrier bringing us
7 some wireless carrier perspectives coming from
8 Washington State.

9 A variety of things that had come up
10 earlier in our discussion, I'm not even sure we can
11 even get to all of them, but we're going to try to
12 sort of touch on several of these topics.

13 Let's start with the first notion as to
14 what the FCC really does. We can argue over the
15 definition of interference and whether or not we
16 should get a new one or not. But let's lay that
17 question aside just for the moment and look at it
18 maybe from a slightly different perspective. Maybe
19 it isn't the definition of interference, but it's
20 really the FCC's decision process when we decide on
21 an allegation or service rules or whatever
22 particular action we take. Interference is usually

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 implicitly there. Sometimes it's so implicit that
2 you can read the text and you won't find the word
3 interference. You might find and therefore we
4 think sharing is possible. And it will be in one
5 sentence, and if you read fast you can go right
6 past it. But it's there. And there they'll be
7 height and power or field strength or some other
8 technical specifications. Sometimes there won't
9 even be a discussion of certain kinds of potential
10 for interference, adjacent channel out-of band.

11 So at times it's said that we are ad
12 hoc in our decisions. Too ad hoc. We address the
13 issues before us. The lawyers tell us don't say
14 anything more than you have to. And as such over
15 the years, we have sort of let's say a fabric of
16 decisions, rather than sort of maybe a body of that
17 says interference is a very well defined thing.

18 So I wonder if the panelists would shed
19 some light on what they think when the Commission
20 basically makes allocation decisions, sharing
21 decisions, and you've certainly been a part of
22 this, or in the coordination area.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Are there things that we're not clear
2 about or perhaps we could do a better job, and if
3 so, how? And I'll take volunteers for this but
4 maybe I'll start with Phil.

5 Phil, in our decisions, are there holes
6 of commission, omission, sins rather?

7 MR. BARSKY: I've been involved with
8 the FCC since 1959 as an amateur. And surely, I
9 haven't agreed with all the decisions and have not
10 been involved as deeply in the process as I have
11 been with XM.

12 I think there's nothing wrong with the
13 process. Perhaps because of the complexity of
14 systems and what's going on, some of the
15 methodologies might have to be augmented. For
16 example, we were just talking about in-band
17 sharing. Well, to XM we had to do some special
18 things between us and Sirius. So we're right
19 adjacent to one another. In addition, we had to do
20 some things within our band. Our satellite receive
21 band for our repeater is 2 megahertz away from the
22 transmit frequency of the repeater. We had to come

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 up with some very, very fancy transmit filters.

2 So we had to do some things in-band,
3 but most of the things that affect us have to do
4 with
5 out-of-band emissions from other services. And it
6 didn't become a real issue, or it doesn't become a
7 real issue until you look at the relative
8 deployments and architectures between two systems,
9 or intended architectures between the two systems.

10 For example, one of the architectures I look at is
11 what's going on inside the automobile. Another
12 architect is what's going on inside of a house or a
13 building. What are architectural differences
14 between certain wireless neighbors and doors? To
15 look at the question of whether you're going to
16 interfere or not, you have to understand what your
17 neighbor system is, or what its deployment is, vice
18 your deployment to understand just how much energy
19 each one is going to put at each other's receiving
20 antenna.

21 And if you boil it down to my very,
22 very simple -- I'm from Brooklyn originally, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 very simple definition of interference is how much
2 of my energy am I putting at that receiving antenna
3 versus the signal that, very early in my case, I
4 was on channel 1 or the old six meters and my
5 neighbors were trying to receive channel 2. So as
6 long as their reception of channel 2 was stronger
7 than my signal on channel 1, or six meters, I was
8 okay. In a lot of cases that wasn't the case and I
9 had to help the neighbors out in filtering in their
10 TV sets.

11 I believe with the ubiquitousness of
12 802.11, hot spots that have been coming in vogue --
13 bluetooth, piconets, and personal area networkz,
14 and ad infinitum and it's just an explosion out
15 there, I think that adjacent services that are
16 close enough to interfere with each other must look
17 at the deployments of each and the architectures of
18 each to evaluate the interference potential. And I
19 think that's probably what's different these days.

20 MR. STANLEY: Steve, from a legal
21 perspective, somehow we could be saying a lot more
22 about other aspects of interference, but frequently

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the record isn't there. It's astonishing sometimes
2 that only after a major decision is made to share
3 is attention put out to power. And we get recons
4 for love the decision, but hated the power. And so
5 again, recon a few more dB, please.

6 Should we be doing more proactively?

7 MR. BARUCH: Well, Tom, when I stopped
8 and thought about what it is that could be done or
9 whether how this process works, I guess the first
10 think I asked is is the process broken? And I had
11 a hard time coming up with the answer to that, but
12 the answer to me is not really. I think it works
13 and I think it works right. And here's why. You
14 start out with allocation level decisions as you're
15 looking at gross compatibility of one service with
16 another in a particular frequency band of range of
17 bands. You have to take into account things like
18 the existing services, evolution of the existing
19 services, adjacent services and other sorts of
20 compatibility. But you can do that on a gross
21 level without getting into too much in the way of
22 how actual systems that would operate in that band

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 would be able to in fact coexist with one another.

2

3 So I think on that first level you can
4 look at it in a very broad sense of class
5 compatibility if you will. When you have to get
6 down to protecting existing systems, and that
7 should be the obligation of the Commission of
8 making a determination as to whether to allocate
9 spectrum to something else is what is the impact
10 going to be on existing licensees in that frequency
11 band regardless of how they were licensed. You
12 start to become more focused in the challenge. And
13 at that point, you do have to get into questions of
14 specific compatibility and more detail.

15 I think you used the descriptive term
16 that there's a criticism that the Commission's
17 processes or allocation in the assignment processes
18 are too ad hoc. And I don't think that that's the
19 case. I think they are necessarily ad hoc because
20 each sharing scenario that's being considered is
21 different from the one before it and it's very
22 difficult, if not impossible, to generalize the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 results of one particular inquiry to others.

2 MR. STANLEY: Ad hoc is not necessarily
3 a negative term. Correct?

4 MR. BARUCH: Not in my view. I think
5 the more detail you get into, the more complicated
6 the sharing, once you've made the general
7 compatibility determination, the more ad hoc it's
8 going to be. I think there's a couple of examples
9 that I could point to. One of fairly recent
10 origin, which is the Commission's decision to
11 authorize the use of
12 non-geostationary satellites in the Ku band. That
13 was a very difficult situation because there's
14 millions of users of geostationary Ku band
15 satellite services, FSS and DBS services. And
16 those had to be very carefully considered, but that
17 was one. The allocation was made. The assignments
18 were made. And here, what you're left with is
19 something that's not really translatable to other
20 sharing examples that the Commission is going to
21 consider.

22 But it was the right approach to take

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in that particular case. There are numerous others
2 where that level of detail is there, and I'll end
3 this introductory answer by just saying that as
4 time goes on, there's very little virgin spectrums.

5 So every time you're going to get into a case of
6 considering an overlay of another service, you're
7 going to have to get into these types of difficult
8 issues, difficult compatibility determinations.

9 MR. STANLEY: Mark, is it the
10 definition or the process, if we had to focus to
11 make something better where would we start?

12 MR. CROSBY: Well, I agree with a lot
13 of what Steve said. I guess ad hoc is a good term.

14 But every allocation is different. And every
15 technology that may go in there is a little
16 different. So there isn't necessarily one set of
17 rules that I think you can apply ubiquitously
18 across all your allocation decisions. And I think
19 you have to somewhat careful if the Commission were
20 to skew it's process to try to identify and adopt
21 technical rules to the ninth degree to try to
22 identify and come up with the procedures or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 mechanisms to protect interference. You could
2 probably do that.

3 The downside is that the decision
4 process would take so long that the public doesn't
5 want the spectrum. I mean, there's a limit how far
6 you can probably study this. I think you do the
7 best job you can and I think it's dependent upon
8 the allocation and the only thing I might add, as
9 well, is I think assuming the assignment is done by
10 auctions, the people that are participating in the
11 auctions, you know, they have an obligation too to
12 know what's there and who the incumbents may be and
13 who the adjacent channels -- you can do so much,
14 but they have to do -- the onus on them to look
15 for, to protect it, to look at what the technology
16 they're deploying, to protect
17 -- some of this responsibility rests with them as
18 well, I think.

19 MR. STANLEY: Just proceeding I guess
20 along the lines, another aspect of our decision
21 making is it is fairly prolonged and in detailed
22 although again the ad hoc-ness is what contributes

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to this.

2 David, from a perspective of a carrier
3 and a operator, to what degree do you see the
4 Commission taking so long to get new ideas to the
5 marketplace and also getting changes made? Is that
6 a problem and should we look at it?

7 MR. HAGEMAN: I'm going to say
8 something and it may surprise a lot of people, but
9 in the rural areas, interference is not much of an
10 issue. Capacity is not much of an issue.

11 We have a completely different
12 perspective of how we look at things than everyone
13 else does. Yes, in some cases we do have
14 interference and there are using the technologies
15 that we deployed and the reasons we put those
16 there. The FCC rules address those adequately.
17 But you know, we've been talking here about lots of
18 different technologies. Lots of different ways of
19 doing things. We have CDMA, GSM, TDMA's, different
20 kinds of modulation rates. QPSK, QAMs. QAM rates
21 are going higher and higher.

22 We're talking about many different

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 technologies, many different things here. The one
2 size fits all rule can't apply equally to all of
3 those.

4 I agree with what Mark says about we
5 have a lot of different things happening here, and
6 each one of those needs to be looked at differently
7 because the interference that you apply to one
8 technology or one type of thing can't work for all.

9
10 I would think that the Commission
11 should take that into consideration in that, you
12 know, if you pass a standard that says this is
13 going to -- this technology or modulation scheme or
14 particular receiver is going to be reused to
15 provide this particular service, that that gets
16 addressed particularly to what's taking place
17 there.

18 You know, for us, the change in
19 technology is kind of a problem. I've heard some
20 people talk about well, the legacy systems and
21 incumbency systems and the safety people and from a
22 small provider here, we can't afford to change

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 systems every three years.

2 We're caught, right now, look at your
3 computers. You have a computer that's great today
4 but tomorrow it's worthless. And we're starting to
5 see communication systems do that. And we can't
6 afford that. It appears that the large carriers
7 are dictating many of the things either by market
8 or by how they interact with us. If we keep
9 changing technologies to make spectrum more
10 efficient, then you're going to basically regulate
11 or force a lot of the smaller people out of
12 business is what you're going to do. Because a lot
13 of the safety people out there probably have
14 systems that they've been using for many, many,
15 many years. And they may be analog. We're still
16 running analog in cellular. The vast majority of
17 our subscribers are analog.

18 We're faced with if you change
19 technology or force us into another technology,
20 we're going to have to change all that out. The
21 Commission defines some carriers as small carriers
22 are 500,000. How about 6,000? It's really hard to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 make a business case for that.

2 MR. STANLEY: Well, the Advanced
3 Technology Panel made it clear that with antenna
4 science running ahead and with space time coding
5 and so on, it's going to be really, really great
6 out there.

7 I guess you're raising the issue as to
8 how that might be paid for and how implemented in a
9 reasonable fashion in places where it's not a
10 pushing, driving force.

11 MR. HAGEMAN: It's actually those types
12 of things today are just not required in a rural
13 environment.

14 MR. STANLEY: Nancy, switching from
15 rural environment, interference in cities is an
16 issue, and the Commission's definitions of
17 interference and its processes over the years have
18 tried to manage this.

19 What's your reaction to what you're
20 hearing here?

21 MS. JESUALE: Well, I think that we've
22 all learned something in the past two years about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the actual sort of tactical on-the-ground results
2 when interference forces an incumbent off the air
3 and when the incumbent happens to be the people
4 that respond to your 911 calls, you know it makes a
5 big splash and it's a big deal.

6 I think that we have to understand, the
7 Commission needs to take a point of view that the
8 real tactical problems of local government, if they
9 are to be the providers of public safety first
10 response services are important. And they're not
11 theoretical. Their experiences are maybe even more
12 important than the theoretical solutions. So I
13 know as we experienced Nextel basically turning our
14 public safety radios into bricks, I had to go talk
15 to the police chief and the OSHA investigators and
16 the mayor and council and explain what we're going
17 to do about it.

18 And I'm sure if we had written you all
19 a letter, you all would have wondered what we were
20 going to do about it too. And I'm still wondering
21 what we're going to do about it. And that's the
22 problem.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. STANLEY: We have a task force.

2 (Laughter.)

3 MS. JESUALE: So this has been a very
4 real learning experience. And I think what we
5 could do with it is apply it into the future and
6 understand that when we commingle players, and we
7 cause a potential for interference, however remote
8 it may seem, we need to be thoroughly convinced of
9 what the response will be in the worst case
10 scenario. Because the worst case scenario might
11 happen and is happening now, it's happening in
12 almost every city. Every local government is
13 either implementing 800 megahertz trunked radio
14 systems or has implemented them. Portland is sort
15 of odd because we were the very first trunked radio
16 system in the country. So we're a mature system.

17 And it was easier to recognize the
18 effects of interference because we had coverage and
19 it went away as opposed to we convinced people to
20 pay \$20 per year per assessed 100th thousand value
21 of their house and given it to me and I put up the
22 radio system and it doesn't work at all.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So I think we have to really seriously,
2 you know, it could have been field tested. There
3 could have been more than just sort of a
4 theoretical mathematical experience prior to me
5 standing there at the OSHA investigator's office.

6 MR. STANLEY: Right. Thank you. Dick,
7 you've been part of the process that helped write
8 these rules. You sort of, I won't say it guilty as
9 much as the rest of us, but what's your reaction to
10 what you're hearing?

11 MR. SMITH: I think it's a fine system.

12

13 (Laughter.)

14 MR. STANLEY: Not only is it not broke,
15 it's in good shape. How's that?

16 MR. SMITH: Especially when you and I
17 were chief of OET. It's actually great to be back.

18 I haven't been here in about four years and I feel
19 a little bit like the ghost from Christmas past. I
20 promised my wife I wouldn't tell more than two
21 stories of my experience working out in the field,
22 but I have to relate a couple here because thinking

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 back over the last 40 years, I do come to the table
2 with the realization that interference protection
3 and the whole area of interference in the spectrum
4 management scheme is an extremely important
5 function for government. I don't see anyone else
6 capable, motivated, willing and able to perform
7 that function.

8 If there was ever any justification for
9 a federal communications commission, it probably
10 lies in the area of preventing, resolving radio
11 interference. In my mind, there's probably nothing
12 more basic to the good effective spectrum
13 management scheme than an effected interference
14 prevention and resolution process.

15 I started out at the Commission, this
16 is my first story. I started out at the Commission
17 as a young engineer just out of college. I wasn't
18 always the Bureau Chief. I started in the field,
19 and one day in Los Angeles, I received a phone call
20 from the FAA. They said we have interference to
21 our instrument landing system at LAX and we've had
22 to shut it down. This causes some concern in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 aviation community. So I, with my partner, jump in
2 the car and we roar out with our direction finder,
3 which was at that time not much more than a coat
4 hanger for an antenna.

5 And without boring you with all the
6 details, we very quickly locate the source of this
7 interfering signal and it was coming from a car
8 parked in a parking lot near an office building.
9 And so I stationed my partner there to watch the
10 car and I went into the building and announced who
11 I was and what I was about. And apparently, the
12 subject of this investigation overheard me and my
13 cord and my partner he came dashing out the back
14 door and ran to the car and jerked open the trunk
15 and ripped out a device in which point my partner
16 approached him and asked him what it was he was
17 doing.

18 And the end of the story was that he
19 had for some reason wanted to know the whereabouts
20 of his wife and it was his wife's car. So he had
21 bugged his wife's car with this homemade device and
22 had made a poor selection of frequencies.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (Laughter.)

2 And so we turned him over to other
3 authorities for prosecution. Interference, whether
4 it be by a deliberate act such as this was, or
5 whether it be by some inadvertent or poor design or
6 malfunction of equipment, nevertheless, obviously
7 has great potential devastating consequences in
8 some cases.

9 And I have to tell my other story now.

10

11 Again, as a young engineer, I one day got a call
12 from the Navy and they said we cannot, our pilots
13 who are flying airplanes around the coast of
14 California, cannot use the radios in the planes to
15 monitor their emergency frequency. I think it was
16 243 megahertz. And they had to turn those
17 receivers off because of this tremendous
18 interference. And so I went out and after a period
19 of time, including using helicopters and cars to DF
20 the source of the signal, found it to be garage
21 door receivers. Not the little hand held units,
22 but the receivers were sitting there cooking away

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 waiting for a signal, but emitting signals of their
2 own interfering with the Navy.

3 It was very laborious. The point of
4 the story is it was very laborious to DF each of
5 these individual components. Knock on a door,
6 explain to Harry Homeowner. By the way, one of the
7 doors I knocked on was the door of the actress Ann-
8 Margaret.

9 (Laughter.)

10 I remember the story very fondly. It
11 turned out it was not her garage. There were two
12 garages immediately adjacent and after an on-off
13 test we determined it wasn't her garage door. So
14 we let her off the hook after a long interrogation.

15 (Laughter.)

16 I then went to the neighbor and had
17 them unplug their receiver. Now it becomes very
18 clear after doing several of these it's like
19 sweeping the waves back to the seashore with a
20 broom. This is a never-ending and never completed
21 task. There has to be a better way. And as a
22 result of that case, we embarked on really the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 first of the so-called part 15 regulations that
2 were designed to put the limits on the equipment at
3 the manufacturing and import level. And I think
4 that's a very basic approach that has served this
5 country well over many years now.

6 If you think about the millions and
7 millions of devices out there, both communication
8 and otherwise that use radio frequencies, the
9 results have been pretty phenomenal that we have
10 not had more serious interference problems than
11 we've had. And I attribute that success primarily
12 to the equipment approval program that the
13 Commission has operated, continues to operate very
14 effectively over the years.

15 As to any final points as to where do
16 we go from here, I tend to agree that the system is
17 not broken in the sense that we sort of have to
18 throw everything aside and start afresh. But I do
19 think there's a lot of nibbling around the edges
20 that can still be done and needs to be done over a
21 period of time. There probably is no complete
22 comprehensive solution, close the case, this job is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 done we can go on to something else.

2 It is probably a continuous process
3 that we need to maintain for the long term, ever
4 mindful of what I think is very important, never
5 letting the interference genie out of the bottle.
6 If the interference genie, as I say, gets out of
7 the bottle, it's very difficult to go back and
8 recoup. That probably means that if we have to
9 err, we have to err a little bit on the
10 conservative side. And there will be those who
11 maybe take an objection to that. But I can tell
12 you interference resolution is a very real problem
13 and it's very difficult, it's very time consuming,
14 it's very expensive and if not done well it could
15 lead to dire consequences. And I just say keep at
16 it, keep doing a good job, improve in the margins
17 as well as we can, and I think in the long term it
18 will serve you well.

19 MR. STANLEY: Okay, thank you. John
20 Storch, perspectives from a wireless carrier.

21 MR. STORCH: Thank you, Dr. Stanley,
22 for the opportunity to participate to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Commission and for facilitating this dialogue. A
2 couple of points, if you allow me the slight
3 deviation and forum from telecommunications to land
4 use, but I appreciate your earlier comment in
5 regards to the FCC not being the developers, not
6 being the designers of the system, but if you will
7 the planning land use owners in this process. And
8 very similar to let of land use, I think there's an
9 element in this that's important upon the
10 incumbents of the band to recognize the land use
11 map ahead and the realization that the piece of
12 land next to them will have the stadium, will have
13 the mall, will have the interstate, and to properly
14 design their property, develop their property to
15 accommodate that in the future.

16 To kind of use an example from the city
17 of Portland, was the coverage that they had there
18 prior to Nextel an opportunity of view before
19 Nextel developed their property that if you will
20 blocked their view. Or was it actually impeding
21 upon their land use? And so a similar analogy I
22 think the development of the processes to deal with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 how to manage that.

2 And going to a second point, I think
3 it's important that interference is acknowledged.
4 It's a genie in the bottle. The genie doesn't go
5 away. It needs to be managed in that bottle, it needs
6 to be maintained in that bottle, and I think that's
7 an important point to recognize as we develop these
8 processes that it just -- the reality is that the
9 next piece of property, not all developers are
10 right with the same time. The next piece of
11 property will get developed. And how are we going
12 to manage the traffic flow?

13 How am I going to be able to deal with
14 the fact that I used to be able to make a left hand
15 turn out of my property and now because they had to
16 put in traffic mitigation devices I can now only
17 make a right hand turn out of my property or things
18 of that nature are accommodated.

19 The last point, I think, or
20 perspective, is the geographic management of this
21 if you will from a regulatory FCC perspective.
22 Fundamentally, there are technological differences

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 between the systems and networks that make them
2 incompatible. But I think inherent in the
3 geographic management of spectrum there's also some
4 inherent -- Washington State, to relate to it
5 directly, we have everything from the CGSAs to the
6 BTAs to the line A that mysteriously cuts through
7 the middle of King County for no other reason than
8 it just happened to be so many kilometers from the
9 Canadian border.

10 And I think, if you will, as further
11 regulation is brought forward, other than just
12 simply adopting maps from the Department of
13 Commerce, if you will, but actually there's enough
14 I think if you will electronic technology out
15 there, there's enough technology is geo-databasing
16 that that sophistication needs to be brought into
17 the spectrum management elements as well.

18 MR. STANLEY: Okay. I hear a lot of
19 I'll say happy customers. There's a spectrum of
20 customers whose happiness is variable. Let me sort
21 of open it to the group here and see if there are
22 other perspectives people would like to mention.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 One gentleman in the back, wait until the
2 microphone gets to you and if you could identify
3 yourself please? Not yet.

4 MR. STEVENSON: This is very
5 interesting. I was especially struck by the
6 stories of what's happened in Portland and then the
7 stories Richard Smith just told about tracking down
8 interference. I think these are beautiful examples
9 of where it is important that we have ways of
10 making sure that important and critical services,
11 aviation or public safety, will not have problems
12 with interference. I don't think it's a problem of
13 regulatory process, there being something wrong
14 with it.

15 I think both of these cases, both
16 aviation communication and navigation systems and
17 public safety systems are exactly the sorts of
18 systems for which the responsibility for robustness
19 cannot, the need for robustness cannot lean upon
20 regulation. Regulation assumes a willingness to
21 cooperate and follow the law. If we have anybody
22 whose interests are not aligned with that, perhaps

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 anybody who might wish that either of these systems
2 stopped working they can try to jam.

3 And the fact that these systems are so
4 vulnerable that sort of inadvertent little
5 technical mistakes cause them to fall over I think
6 points to their fragility, and these are exactly
7 the sorts of systems which should be designed for
8 maximum robustment.

9 And there are ways of designing anti-
10 jam systems which the military has understood since
11 World War II actually, when they started using
12 wideband FM.

13 Aviation is very interesting. It's
14 almost the only thing in VHF that's using linear
15 modulation, where the signal to noise ratio shows
16 right in your ears whatever it was in the channel
17 and there's absolutely no processing gain. Even
18 though it's 800 megahertz, the 800 megahertz system
19 is still narrow band FM, a legacy sort of
20 modulation technique and that's exactly the sort of
21 place where a wider band system that offered some
22 processing gain could have provided some robustness

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from this sort of problem.

2 MR. STANLEY: Right. Just to comment
3 on, I guess you made several points and I don't
4 know whether people want to respond, but just one
5 comment really. Very dramatic story as to what
6 happened at 800. I hope at some point someone does
7 the history, because much of the problems now to
8 some degree are reinterpretation of what had been
9 done say decades ago, different time, different
10 constraints, different motivation.

11 So it would be interesting to see if
12 that data is available, what were the kinds of
13 factors that made people make those decisions and
14 then how did technology grow, the community grow,
15 what happened to create some of these other later
16 problems. Are there any other comments?

17 MR. CROSBY: I can't resist. I simply
18 can't resist. You'd need a whole another day
19 session on 800 megahertz and how we ended up where
20 we are. And it goes all the way back to Docket
21 18262. No, that was 470 to 512 I think. 18262 is
22 the 800, 900, but I'll check in there. And I don't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 want to speak for Nancy, but you know this
2 designing the robustments and the system initially
3 -- that spectrum was zoned for a specific
4 application and I'm going to use an example like
5 the Mall here in Washington, D.C. And somebody
6 mentions, well you can put too bad, didn't design
7 it right, you could put a stadium. I'd like to see
8 somebody try to put a stadium on the mall.

9 The Commission has the responsibility,
10 and public safety and critical infrastructure and
11 other types of things, you know, it's a little
12 different. And how you measure value, what is it a
13 commodity or is it a public safety or public
14 interest type of thing. I mean, even if you're
15 going to rezone it, and the 800 thing developed
16 over two decades. You ought to at least have the
17 incumbents have an opportunity at a rezoning
18 hearing or something to see the potential impact.
19 Is it a stadium? What is it?

20 And so I don't think you can be quite
21 so cavalier with certain types of incumbents about
22 hey, you should have figured two decades ago to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 design a robust system to accommodate something you
2 didn't even know was coming in 20 years. I don't
3 think it's fair to those types of applicants to put
4 a guess what, we're putting in a prison, or we're
5 going to put in a stadium. You know, too bad. You
6 should have built a hedge. I don't think that's
7 right.

8 The Commission still has the
9 responsibility to figure out what's going on.

10 MR. STANLEY: Nancy.

11 MR. CROSBY: That's all I have to say.

12 (Laughter.)

13 MR. STANLEY: Comment, please.

14 MS. JESUALE: Well, thank you for your
15 comments. I think that we in the public safety
16 community really feel very strongly that if anybody
17 is going to enter our space, we want to let them
18 in. We want to know they're there. We want to
19 approve that they're there, and maybe we can figure
20 out a way to share. But the problem is it happened
21 the other way where we were overrun and now there's
22 quite a bit of pressure by the new internet to just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 move us to a different reservation or you know take
2 our native children and send them to a school and
3 teach them all English or something.

4 But you know, if you go back to this
5 land use analogy, it's very much like an adult
6 store and a liquor store showing up to the
7 elementary school.

8 Well, they may have every right to be there but if
9 your kid is in that school, you don't like it. So
10 I have to agree.

11 I think public safety is different and
12 I hope the Commission will maintain that point of
13 view that protecting citizens and their property is
14 different than commerce.

15 MR. STANLEY: All right, thank you.
16 Doug Lockie has a question up here.

17 MR. LOCKIE: I'm sorry, was there
18 another back there? Thank you. Now that was an
19 example of too little transmitter power.

20 (Laughter.)

21 The warm up session that we had for
22 this. I'm a millimeter wave guy and for the first

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 time in my life I went off and found out about this
2 public safety problem. I went off and looked into
3 it a little bit and had my first discussion with
4 peace officers except when I was at the end of the
5 tablet getting a ticket. And looking into that,
6 first of all, let me say that providing more
7 bandwidth real time to law enforcement communities
8 is a very, very high priority.

9 In California, we're having very few
10 drunk driving cases going to court anymore because
11 they're videotaping a lot of them and the drunk,
12 his lawyer, can't get him off anymore when they
13 look at the video. It's very valuable. In times
14 of stress having bandwidth for peace officers is a
15 huge importance. The same thing for fire and
16 everything.

17 So let me say that more bandwidth for
18 that community is really important.

19 Next, after September 11th, anti-jam
20 capabilities in there is a lot more important. We
21 have never gotten invaded in this country before
22 and we're likely to get invaded a lot more in a lot

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of different ways including electromagnetically.
2 So putting the infrastructure in the fine jammers
3 and taking them down fast I think is going to be
4 more important.

5 Now having said that, now I want to say
6 something I hope doesn't get interpreted as anti-
7 peace officer or anti-public safety, but we don't
8 have separate streets for the fire engines. We use
9 the same streets for the fire engines, and when
10 they need the street, they turn on their siren and
11 you get out of the road. And there's no reason we
12 couldn't do that in the public safety community, as
13 well, or at least do some of that. And therein
14 lies a huge solution instantly to this public
15 safety problem. So I think that we ought to
16 establish a Commission within the FCC and others to
17 look into that solution as an interim if not a
18 permanent fix.

19 MR. STANLEY: Okay, thank you. There
20 was a question in the back we jumped over, please.

21 MR. STEVENSON: Actually -- Carl
22 Stevenson and Gear Systems and IEEE 802. Actually

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I was going to say something very similar to what
2 Doug said in terms of the need for making public
3 safety systems more robust so that they will stand
4 up against attack and will continue to provide the
5 services that they're intended to provide to the
6 public is one thing. Obviously, there will need to
7 be some transition period from legacy technology
8 into newer technologies.

9 I was also going to suggest that at the
10 same time you're providing more bandwidth for those
11 peak needs when something bad happens and public
12 safety needs a large amount of capacity, being able
13 to collaboratively share that spectrum during the
14 quiet periods would provide a lot of benefit to the
15 public as well. So it's very similar to what Doug
16 was going to say.

17 MR. STANLEY: Okay, thank you very
18 much.

19 DR. JACKSON: Okay. It's my turn. And
20 what I'd like to do is follow up on the point that
21 John and Mark made a little bit, and I'd like to
22 sort of pose the question and go down the panel and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 see what the response is.

2 The question really is could the
3 process of enforcement, and the process of using
4 radios be facilitated if we have a more
5 quantitative or uniformly applied definition of
6 interference, that is, if we had some criteria,
7 perhaps announced in advance, saying this is the
8 interference environment, this is the worst case
9 interference environment that your system is going
10 to have to live with, and as long as it's better
11 than that, don't come and complain to us. You can
12 think of it as advance warning or telling people
13 what the development guidelines are in their
14 neighborhood.

15 And I guess the question is how would
16 something like this relate to a definition of
17 harmful interference. I mean, we saw one session
18 ago the FCC and the ITU's definition of harmful
19 interference, which is in some sense an economic
20 measure when it's interference that you know messes
21 the system up or degrades a very important system.

22

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Should we maybe have a different
2 definition where we'd just say as long as you have
3 less than, you know, x watts per hertz, you aren't
4 interfered with. So we'll start down there with
5 Phil.

6 MR. BARSKY: In XM's case, when we
7 designed the system we had to do that since there
8 was no definition of harmful interference. We
9 defined what harmful interference was by loss of
10 service. Our system was designed with 99.9 percent
11 availability. So we start at saying I can't accept
12 interference over that, that will block out
13 reception to that particular sort of service level.

14 In addition, what we did since there
15 wasn't any spectral survey of what's going on out
16 there in bands adjacent to DARS, we actually went
17 out -- we submitted a report to the FCC on our
18 findings and we went out and sniffed. And we said
19 what is our environment? What is there?

20 In addition, we looked at what was
21 coming and looked at what neighbors were going to
22 be. Since we're licensees and we have our own

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 frequency and don't have to share, it wasn't the
2 same as your problem. But surely, because we're a
3 very small signal system, surely somebody with
4 significant out of band, and to us significant just
5 means very, very little bit. Significant out of
6 band energy that ends up in the band would kibosh
7 our system link. That was considered.

8 So we came up with our harmful
9 interference definition based upon the quality of
10 service, based upon bit error rate. But it was
11 specific for our service. We had to understand our
12 service well enough to know what interference we
13 could stand. In fact, we have imparted the wish
14 and want of the DARS community to the FCC to limit
15 out of band interference in our band to a
16 particular level. I hope that answers your
17 question.

18 MR. BARUCH: When it comes to harmful
19 Inspector and the definition, the international
20 definition which is also the domestic definition, I
21 look at and it strikes me that if you read that
22 definition closely, you could have the same level

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of interference from one source being harmful in
2 one case but not harmful in another. Because it
3 does split between safety, radio navigation and
4 safety services on the one hand and radio
5 communication services on the other.

6 What I take away from that is that any
7 inquiry into harmful interference necessarily
8 focuses on the victim to some degree, more so than
9 perhaps the interferer because that same level of
10 interference can either be harmful or not harmful
11 depending on what is the victim. So when you ask
12 whether the process of enforcement would be helped
13 by more uniformed definition of interference, I
14 don't think it would. I think that harmful
15 interference described that way, which is almost
16 you know it when you see it, is a good ideal. It's
17 out there, but it doesn't answer the question of
18 whether a particular service can accept the level
19 of interference that's being theoretically caused
20 by a proposed new service of actually being caused
21 by a station or another service that's in
22 existence.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So I think when you look at it, when
2 you try to quantify what interference is, you're
3 not quantifying harmful interference, but instead
4 you're identifying the acceptable level of
5 interference, the tolerable level of interference.

6
7 When you do it on an allocation level,
8 it's service to service, I think you speak more
9 generally than when you do it in coordinations,
10 when you have existing licensees on a licensee to
11 licensee, either intra-service or inter-service it
12 becomes much more specific. You can identify
13 objective limits of what would be tolerable and not
14 tolerable, but again you're defining acceptable or
15 unacceptable interference, as the case may be, but
16 not harmful.

17 And I think if the focus is on that in
18 particular sharing scenarios, and that is again a
19 lot of what we've been doing over time in various
20 proceedings. I think that's the right direction.
21 It's not a difficult thing to do. It requires a
22 lot of good faith on both parts to really come

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 toward the middle and lay your cards on the table,
2 so to speak, as to what is acceptable generally and
3 specifically. But that is the objective I would
4 think.

5 DR. JACKSON: Mark, do you have an
6 opinion on this?

7 MR. CROSBY: I don't have any strong
8 feelings on all this. This is difficult. A single
9 definition I don't think is workable. In trying to
10 apply a single definition across the board I don't
11 think works either. I think it depends on is it an
12 unlicensed band or is it a licensed band? And then
13 I think it bifurcates into two other pieces, and
14 that really it's not expectations. The incumbents
15 have a level of expectation when they went in of
16 what the environment would be. And their
17 definition of harmful or hey, I can live with it is
18 something.

19 But I think you have to accommodate the
20 expectations of interference for the incumbents,
21 and clearly, I think it's wise, I think prudent for
22 the Commission to define for the new people this is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the environment, these expectations, this is the
2 type of interference you may or may not receive and
3 don't cause the following types of interference to
4 these incumbents, and if you do.

5 I mean, Commission has done a great job
6 on this on the one point of PCS point to point. I
7 mean, I mentioned this earlier in an earlier
8 session, if you want a perfect example of how to
9 take care of business, I mean FCC has done a really
10 good job. You lay the ground rules out. You said,
11 these guys are coming. These are the ceilings that
12 you'll pay and these are the ground rules and once
13 you got real specific all of the rigamorale and all
14 the verbiage sort of went away and everybody went
15 about their business. And it really worked.

16 So I think it's really dependent on
17 specifications. And the last point is as a band
18 manager, when we're working with customers or
19 putting in systems whether it be voice or data, we
20 participate in and we highly recommend our
21 customers. We go to the site, and you've got to do
22 a lot of work. I mean, you just can't go here, put

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this up. All the sites are co-located now, so the
2 problem is getting a little worse. So it behooves
3 the customers -- you've got to go out there and do
4 some work and literally figure out what the
5 environment is, what's coming into this site,
6 what's going out, what are the inter-modulation
7 products. This is getting more complicated and no
8 one should go into this blind. You've got to do
9 some work.

10 DR. JACKSON: Okay.

11 MR. HAGEMAN: I was having a discussion
12 earlier about I was involved in PCS early on when
13 it first started. And I was reading through some
14 of the rules and regulations and I was going back
15 to my cellular days and I said well, if FCC comes
16 up with a formula on how you make a 32 dBu
17 calculation. So I went through the rule parts of
18 PCS and I was trying to find that. I never found
19 it. All it said was it made mention of a 47 dBu.
20 So I called a gentleman at the FCC and I asked him
21 about that and he says well, there's a lot of
22 formulas out there that calculate 47 dBu. Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 There's my answer.

2 I think that if you're going to do
3 something that way, you need to have clear, defined
4 measurements. You need to come up with some way
5 that the common person out there, the small
6 carrier, can take a spectrum analyzer or some
7 common piece of equipment with some standard things
8 that they have and say I'll stick this antenna up
9 and I'll make this measurement and I turn this knob
10 and set that switch and bang here's my level. And
11 it meets it or it doesn't. And it needs to be the
12 same for every one.

13 DR. JACKSON: What's Portland's view on
14 this?

15 MS. JESUALE: Well, Nextel wasn't
16 transmitting out of band. It wasn't over power.
17 It wasn't in any way illegal for it to do what it
18 did. But it still caused harmful interference to
19 public safety. And our definition of that is this
20 radio doesn't work anymore. It used to work, but
21 it don't work now.

22 DR. JACKSON: Let me give an analogy to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that, and I'm bringing this up as a technical
2 analogy and I'm not trying to make any particular
3 points about the specific case I'm bringing up.
4 But a lot of people use hearing aids, and hearing
5 aids have in them a capability, many of them called
6 a T-coil which lets them pick up telephone
7 transmissions. Many hearing aids, when operated or
8 when a digital cellular phone, particularly one
9 that uses time division multiple access, is
10 operated near that hearing aid, the hearing aid
11 will pick up a buzzing noise in the background that
12 can be quite objectionable. Particularly older
13 hearing aids. I don't think -- it's probably been
14 remedied mostly now.

15 Is that a problem of the radio or is
16 that a problem of the hearing aid? I mean are you
17 going to get rid of digital cellular because there
18 are 5 million hearing aids in America that are
19 going to be disabled by it?

20 MS. JESUALE: You know, we had to take
21 in Portland and many other cities, but I'll just
22 talk about Portland because that's where I am. We

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 had to take steps to mitigate interference. And
2 one of the steps was not call the FCC and say do
3 something. Because that didn't work. The steps
4 were we replaced every single antenna on every
5 single tower. We modified the Motorola radio
6 products. All 10,000 of them in the field had to
7 be brought in and modified. We had to design the
8 modification. We had to change our power output
9 and we put a lot of political pressure on Nextel.

10 We called up the newspapers, we went to
11 the state legislature and we embarrassed them into
12 doing frequency coordination with us. And in the
13 end, in Portland, we don't have Nextel interference
14 anymore. But we had to take all these steps and I
15 suppose that if I had a hearing aid like that I'd
16 probably go to my doctor and hope my insurance
17 would cover a new one.

18 (Laughter.)

19 And that's where I'm kind of at now, I
20 want to go to my Federal Government and hope that
21 my insurance will cover new receivers, new transmit
22 technology. Because I really think that the City

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of Portland could have a better radio system if, we
2 add another \$60 million.

3 DR. JACKSON: Well, I guess John's
4 point is that when you bought that system, if you
5 looked at the zoning rules, you would have said
6 gee, these receivers aren't going to do the job
7 under some scenarios. And you would have at least
8 been able to point to the files saying well, yeah
9 we knew there was a chance this would happen, but
10 we took the risk or something like that. I'll just
11 say it -- am I putting words in your mouth, John?

12 MR. STORCH: No. Just a slight
13 deviation, I think the zoning did change over time
14 and potentially changed on the City of Portland,
15 but there's also the NIPSKA channels that came in
16 there, post-Nextel, if you will, in the sense of
17 operation. So I think certainly looking in that
18 full environment -- should I jump ahead?

19 DR. JACKSON: Go ahead. I wanted Dick
20 to go last on this anyway.

21 MR. STORCH: Okay, okay. Excellent. I
22 think the issue of bandwidth brought up by the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 gentlemen for law enforcement is an interesting
2 one. And it's a perplexion. Nextel, from their
3 own public disclosure and commentary, has brought
4 to light how much of the government and public
5 safety community that they provide service for.

6 Similarly, on the same system on the
7 City of Portland, beyond the police and fire
8 operators are the trash collectors, are the street
9 sweepers, and if you will, the parks and recreation
10 folks. And so this concept of the fire engine and
11 the siren is kind of interesting, because does
12 this, and I'll use AT&T Wireless and Seattle
13 specifically, but does the CDPD data transmission
14 traffic take priority given the location of that
15 officer down, over his voice transmission which
16 cannot be understood for some reason he is
17 incapacitated from speaking. So you sit there with
18 a quandary to say the cellular system has priority
19 or does the 800 megahertz City of Seattle system
20 have priority, because and that's going to the
21 definition. It's more of who is the user versus
22 the ownership. That system in there happens to be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 owned a private organization, or if you will, a
2 governmental organization, the City of Portland.

3 We provide a degree of
4 telecommunications in the City of Midland to the
5 police department, predominantly data and some
6 voice. So there's ownership but there's also
7 usage, and I think the definition there's huge
8 debate around what is interference, harmful nature
9 and all that. But I don't think the definition
10 adequately addresses, if you will, the priority
11 nature of the usage and how to manage that moment
12 of dealing with your, and I'll call it interference
13 management because again the position of
14 interference is there to be managed, not to be
15 mitigated. It's not potential it's there and it's
16 that genie in the bottle. So let's wrap it up.

17 DR. JACKSON: Dick, I think you've had
18 more experience trying to deal with real world
19 interference problems than the rest of the panel
20 put together. And I guess we want to stick with
21 the same question, but really given your experience
22 how could the Commission better define interference

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 so it would be easier for the users and easier for
2 the FCC to deal with?

3 MR. SMITH: Well, I must admit I have
4 mixed feelings about it because although Mark says
5 he doubts the ability of us to continue or have a
6 single overall definition of interference, I think
7 if that's done in a general way, and I think our
8 current definition is relatively general, that has
9 certain advantages. It is somewhat then for the
10 interpretation by the Commission to be enforced.
11 Cooperation amongst the users is expected, and when
12 the Commission says we determined that this is an
13 interference situation and this party is to take
14 corrective action, we expect that corrective
15 action. The FCC expects that correction action to
16 be taken.

17 This works pretty well when everyone is
18 cooperative. But I'm thinking in the future that
19 things are going to get more complicated. That
20 spectrum is being suggested to be shared by more
21 diverse than somewhat different systems.
22 Incumbents may be opposed to that sharing and may

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 not be so cooperative. And we may find court cases
2 cropping up much more frequently than they have in
3 the past.

4 In the last 30 years of my career, I
5 don't remember more than a half a dozen cases that
6 we actually wound up in court over an issue of
7 definition of interference. There were a few, and
8 we won them all. But in the future, there could be
9 a lot of really complicated protracted litigation
10 type cases involving imprecise, perhaps imprecise
11 definition of interference that would be very
12 troublesome and very difficult to resolve.

13 I don't think I have a solution to this
14 particular aspect, only to suggest that things
15 likely will get worse and that the Commission
16 should, as it had always in the past, tried to stay
17 ahead of the game and be thinking about that and
18 how to deal with that in the future because I think
19 this has real potential.

20 DR. JACKSON: I guess we'll take a few
21 questions from the floor now. We have somebody
22 over there?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Could you identify yourself?

2 MR. WIGGINS: I'm Stan Wiggins, I'm an
3 attorney in the Wireless Bureau. Engineers have a
4 concern with interference which I will characterize
5 for the purposes of this question as a quasi-
6 property right, a right to be protected. In the
7 legal context, property rights have both positive
8 in a sense of affirmative and defensive
9 connotations and in economics rights have even
10 different definitions.

11 The concern I have as we look forward
12 over the next 10 or 20 years and the rapidity of
13 change that we've talked about today and in the
14 sessions yesterday, in setting aside for a moment
15 the sort of incommensurable differences between
16 public safety and commercial and just look at a
17 commercial set of spectrum blocks for the moment.
18 Don't we need a definition of the rights that we're
19 trying to enforce, protect, affirm, whatever then
20 in a sense is as agile as the technologies? If we
21 define interference rights or, if you will, legal
22 property rights or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 quasi-property rights on some basis in 2002, the
2 technology is going to come along in 5 or 10 years
3 and it's not adequate to say well, you should have
4 looked at the master plan and realized that they
5 might build a rendering plant down the street 5 or
6 10 years from now when you built the house, because
7 the master plan couldn't foresee what's going to be
8 down there 10 years from now. It's going to be
9 technology that no one was thinking about.

10 This really is just a question, but it
11 does seem to me, and I started thinking about this
12 this morning when the gentleman to my right was
13 talking about living out in Colorado where you have
14 mineral rights below the surface and maybe I'm
15 twisted because I had oil and gas law in law school
16 -- don't ask me how that got me into
17 communications, but it's not without relevance
18 because it seems to me that we really are, we build
19 this whole structure on our concepts of rights, or
20 our attempt to codify concepts of rights. But when
21 the technology is moving this rapidly, I think we
22 really need to drop back a notch and take another

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 look at it. But that's really just a question for
2 reactions. I certainly don't have an answer to it.

3 I'm not a beautiful mind. I'm a pretty homely
4 mind.

5 (Laughter.)

6 DR. JACKSON: Okay, any other questions
7 here? In the back there?

8 MR. LONGMAN: Wayne Longman, private
9 party. I guess I'd be a little concerned if the
10 FCC came into the role of allocating noise. I
11 think you'd find the same issues with frequency
12 allocations with noise allocations. You'd find
13 fixed mobile and low noise, fixed mobile and high
14 noise and public safety people would get the low
15 noise. So you'd be in effect establishing for
16 certain technologies quality of service for
17 particular users and particular parts of the band.

18 DR. JACKSON: Okay. I guess time for
19 one more? I'm told one more. Okay. Nobody on
20 this side wants to talk. Go ahead.

21 MR. FOX: Paul Fox, I'm an consultant
22 in town. I want to go back to the 800 and your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 question about detailing the Commission's
2 assumptions on interference. Back when 800 was
3 designed, everyone would have done their
4 calculations for regional coverage. That's indeed,
5 i.e., the single large transmitter in the center of
6 the huge metropolitan service area. That was what
7 everybody expected 800 to be. That was the natural
8 way to serve that market, at least everybody
9 thought at that point.

10 If the Commission had detailed their
11 calculations, those are the calculations they would
12 have detailed and Portland built their system
13 around that assumption about it. The next part I
14 get awfully hand wavy and I have a feeling Peter
15 Pitsch will undoubtedly tell me where I'm wrong on
16 this. But it seems to me that you could -- part of
17 what happened was that Nextel started reacting to
18 economic incentives and found from their part of a
19 view a more valuable use of the spectrum, i.e.,
20 more intensive use of going down to sales. And the
21 problem was that was unanticipated. They moved
22 in an unanticipated way that created this problem.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1

2

3

4

5

6

7

8

9

So I think what I'm wondering this is not an indicator of the kinds of problems we would have if we start going to market incentives to reuse the spectrum in substantially different ways without having had an adequate definition of property rights developed. As I say, I'm hand waving at this point and I'll shut up at this point.

10

11

12

13

14

15

16

17

18

19

20

DR. JACKSON: Okay. Tom? Thank you very much. I guess 800 has got quite a work out here. Let's shift back to a slightly different kind of a line of discussion. And you can correct me if I'm wrong here, Mark. You will whether I'm wrong or not. Paul brought up the history of 800.

I just want to remind everybody that when the FCC made 800 available, much of the community said who wants 800? We can't use it. It's too high in the spectrum. It's a stupid waste of time. So just remember that.

21

22

MR. CROSBY: Actually, when it first came out, Doug's right, they didn't even do it by

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 users or class of -- they said, these channels? At
2 the top end is trunk systems, and he's right. They
3 tried to give them away twenty channels at a time.

4 Nobody wanted to take them. And the bottom half
5 of the band, the first 100 channels was
6 conventional. It wasn't by public safety,
7 industrial, business, Nextel -- Nextel wasn't even
8 born or Fleet Call whatever it was. It was a
9 technology application. It was actually at the
10 time very innovative on the part of the Commission.

11 But they started them wisely at different ends of
12 the spectrum. And then they went like that after a
13 period of time.

14 MR. STORCH: If I may just speak, and
15 again going to the theme of process, a better
16 process, I think it's interesting and 800 and the
17 doors open so we're there. But the reality is, and
18 I think similar to land use there's property
19 rights, and don't ask me where I became a land use
20 person because it comes from siting cell sites --

21 (Laughter.)

22 Similar to land use, you know there's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 certain rights that do notify the incumbent
2 property owners. And there is a process there.
3 And that's what I mean by a better process. I
4 think most of the rule making that's done by the
5 FCC today, frequency allocation, gets very
6 myopically focused on the individual band. And
7 okay, we'll put up a little guard band. That's
8 good. Instead of looking at the more total
9 picture, and it is. Which is true. It started out
10 conventional here and there, and oh by the way
11 we'll allow some simplex use somewhere in the
12 middle of it and really confuse the heck out of
13 everybody.

14 But then it transitioned, and they said
15 okay, well these six we'll give to public safety
16 and these six we'll give to industrial and this,
17 and there was no recognition of the other property
18 owners if you will. And there was no process to
19 that that took into account that interaction and
20 what was building of that moment.

21 So I think it's a good case study to
22 say what is a better process and then take it a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 little more globally and deal with that. Because I
2 think by the same token, you can go to when
3 cellular received its expanded spectrum, which was
4 the guard band. And it just said, and if I will if
5 you will allow me, I mean I remember back some of
6 the public commentary there which was very little.

7 People saying yeah, whatever. Just let them slide
8 over to paraphrase it and make light of it. But it
9 was a non-response and the FCC said okay, cellular
10 you can go out and you can have a little bit
11 broader bandwidth and nobody cares. You know,
12 we'll move on.

13 MR. STANLEY: Speaking of moving on,
14 let me sort of bring up I guess a new topic here.
15 The Commission over the years has used a variety of
16 techniques to try to take on some of these thornier
17 kinds of problems on interference, and that's
18 letting the parties negotiate themselves in not
19 negotiated rulemakings. Or more recently actually
20 an even more innovative concept, a guard band
21 manager.

22 Let me start with the notion of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 negotiated rule making. I guess I didn't realize
2 this until I started talking about this with Steve
3 Baruch, but Steve has been involved in negotiated
4 rule making process going way back to LEOs, big and
5 little, some time ago.

6 Steve, can you say a little about what
7 negotiated rule making is and how it is an approach
8 that the Commission has followed to deal with
9 interference among other matters, but interference
10 in particular where the parties themselves bringing
11 in their concerns to the table and the tables not
12 at the Commission?

13 MR. BARUCH: Well, actually the table
14 was at the Commission.

15 MR. STORCH: Figuratively speaking.

16 MR. BARUCH: What happened and actually
17 it was ten years ago this month that the very first
18 negotiated rulemaking commenced. It was a little
19 LEO negotiated rulemaking. But Congress in the
20 early 1990s adopted an amendment to the
21 Administrative Procedure Act to create this vehicle
22 for allowing the Commission and other agencies to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 conduct rulemakings with all the participates --
2 pre-rulemakings in a sense -- with all the
3 participants around a table, the various interested
4 parties. The Commission would invite people who
5 had an interest, either in the terms of an
6 application, in terms of an affected spectrum user,
7 other government agencies, in fact, who used
8 adjacent bands were involved in these. Sit them
9 down. Say, you know, give us an idea of what we
10 should do with respect to this proposal to
11 establish a new, in the case of the one 10 years
12 ago, the new satellite service. That was the
13 little LEO satellite service that they were working
14 on which is a 136 and 400 megahertz MSS.

15 I will say that the first one, because
16 nobody had any idea what it was, you had a couple
17 of parties on the private sector side, applicants,
18 who had spent the prior two years fighting each
19 other tooth and nail with pleadings to the
20 Commission, hyperbole content -- let me put it that
21 way. Not much progress being made. And at the
22 same time there was also the work going on in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ITU to try and set the stage for allocations to
2 accommodate these systems.

3 When the Commission indicated its
4 intent to start this process, all of a sudden the
5 applicants dropped their swords and said we have no
6 idea what we're getting into. They sat down with
7 each other, came up with a draft set of rules to
8 put their diametrically opposed positions together
9 and all of a sudden that managed to be
10 accomplished. Came into the Commission and said
11 look, we've done this. You don't need to have a
12 negotiated rulemaking now because here's our
13 agreement. Commission went ahead and it went
14 forward with it. There were obviously other
15 interests involved. One of the things was the
16 Commission wanted to make sure there was room for
17 additional systems to come into that band. Also
18 there was the issue of the good neighbors.
19 Interference from satellite operations both uplink
20 and downlink into other bands that were used in
21 some cases by aviation and other cases by the
22 military.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. STANLEY: Was the success of that
2 because largely it was like parties? We heard this
3 really in other aspects of this discussion. It's
4 easier that like parties find it able to come up
5 with thresholds and negotiations and when you bring
6 in somebody who really does live differently,
7 certainly it has different quality of service,
8 negotiations are far more rigorous.

9 MR. BARUCH: Yeah, I think the key to
10 success there was that for better or for worse, at
11 least inadvertently, the start of that process
12 incentivized people to come together and recognize
13 that there was an objective that had to be
14 achieved. And I think, in fact, in the case of the
15 little LEOs that did accelerate the completion of
16 that rule making process and the allocation easily
17 by a year and a half. That one was a success. The
18 one that followed it was the big LEO negotiated
19 rulemaking. And we were talking, I was chuckling a
20 few moments ago when you talk about 800 megahertz,
21 nobody wanted it. At that point in time, one of
22 the issues to be dealt with there was feeder links

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and KA band.

2 I remember the first meeting of the
3 group that was going to discuss feeder links and KA
4 band. It was basically the two applicants who had
5 some spectrum in that band and NASA. And nobody
6 else had any interest in it. Everybody said what's
7 20, 30 gigahertz? Give me a break. We're never
8 going to get anywhere near there. The floodgates
9 opened shortly there after, of course. There were
10 three people in the room. We could have had that
11 meeting in a phone booth. But that one did not end
12 up with a uniform solution. It did not end up with
13 a consensus solution.

14 But I still maintain that what that did
15 was facilitate the decision making process of the
16 Commission as well as soften up the participants
17 for ultimate compromises that had to be made. Why
18 it facilitated the Commission's decision making
19 process is because the Commission was fully
20 involved on a working level every step of the way
21 in the negotiations. They were party to them and
22 even if not making decisions, but observing and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 participating and contributing ideas -- you know,
2 what works what doesn't work, in effect making some
3 concession.

4 So you stripped away the rhetoric and
5 you allowed the parties to get down, again it comes
6 back to an ad hoc negotiation, an ad hoc solution
7 of an interference case. They had to go out. The
8 solution, I mean what the Commission finally
9 proposed ultimately showed up in the form of a
10 notice of proposed rulemaking and went through that
11 process. But it was a much more expedited process
12 on that end than it otherwise would have been if
13 the Commission ended up with a stack of 30
14 documents each saying, you know, this is our bottom
15 line position, which of course was their starting
16 position. No movement towards the middle. I think
17 it was valuable.

18 And even it was, just one final note
19 and I'm sorry to take quite so much time, but I
20 will observe that in the satellite side of things
21 in recent years, even though we haven't had
22 negotiated rulemakings, we have had the sort of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 "big stick" approach from the Commission and has
2 forced applicants to get together and agree among
3 themselves and present the Commission with the
4 uniform plan of action, to compromise a proposal
5 for assignments. And again, I think that really is
6 sort of an off-shoot of an negotiated rulemaking
7 process, but it does work. And the Commission
8 participates, representatives of Commission observe
9 or are invited to participate in that process and
10 do. And I think it has allowed, at least
11 facilitated licensing, allocations, and shortened
12 the time scale for implementation of systems.

13 MR. STANLEY: Strictly speaking, at no
14 point would a uniform definition have been useful.

15 It was really the parties themselves with quality
16 of service in mind splitting differences in
17 deciding how to divide up bands and do some of the
18 other rulemaking.

19 MR. BARUCH: I think each rulemaking,
20 each negotiated rulemaking provided some principles
21 that provided guidance to the following negotiated
22 rulemaking in terms of how things were done. But

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in terms of interference itself, completely
2 associated only with the case that was being
3 addressed, because what was acceptable there, the
4 parties were different, the bands were different,
5 the service objectives were different.

6 MR. STANLEY: Phil, any comments on the
7 process generally?

8 MR. BARSKY: I'm not getting into
9 specifics, but as you know we're working on
10 something very similar to that and I'm going to say
11 amen. It's specific between two adjacent services
12 and the only way it's going to get done is us
13 figuring out how to live with each other, looking
14 at each other's architecture, understanding each
15 other's point of view, which is very important;
16 having a couple of honest brokers in the room. I
17 don't want to call it a "big stick" from the
18 Commission, but nudging and pushing and cajoling in
19 the right manner has helped. Also, there's got to
20 be a willingness on both parties to come up with a
21 solution. That's very important.

22 You've got to get past the rhetoric.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 You've got to get past the posturing and get into
2 really talking about the issues and wanting to come
3 up with a solution, and then getting down to each
4 of the technical issues, and I'm sure that there
5 were many there and we have ongoing many. I missed
6 lunch today because of a couple. It's really what
7 I like to call in engineering jargon attention to
8 detail. And it's only when the details get worked
9 out between the parties that you're going to have a
10 solution.

11 MR. STANLEY: Okay, thank you. Let me
12 just change the subject a little bit and bring up
13 the idea of the guard band manager.

14 Mark, you have the authority of the
15 Commission in several ways in term of making
16 interference determinations and who gets what.

17 MR. CROSBY: I have to be careful.
18 Peter is sitting in the front row over here.

19 MR. STANLEY: Would you maybe explain a
20 little about the concept of guard band manager and
21 how interference, in particular with public safety
22 in mind, is really part of what's been addressed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 here?

2 MR. CROSBY: Well, let me clarify. The
3 guard band manager refers to activities that are
4 700 megahertz and then there's the theory that a
5 new class of FCC licensee could be band managers in
6 just a couple proceedings. The band manager is
7 given, I would say, well, we're given some freedom
8 to, use that word --

9 MR. STANLEY: Flexibility.

10 MR. CROSBY: Flexibility. Thank you.
11 To permit the deployment and to facilitate the
12 deployment of numerous types of technologies. And
13 in rural areas there's a different type of need.
14 And we can address, as a band manager, applications
15 in rural would be different in urban areas. And we
16 obviously are motivated to be very careful because
17 people are obviously reimbursing us for the use of
18 our spectrum, to be very careful with the
19 interference.

20 At 700, we have an obligation to
21 cooperate with, and it's our intention to do so to
22 work very carefully with the public safety

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 community when they deploy at 700 that are in the
2 adjacent bands. And of course, I haven't had any
3 direct yet. I've only had a few, but we also have
4 an obligation to stay out of the grade b contours
5 of the incumbent broadcasters. Although even that,
6 while you might go boy, that's a problem, you know,
7 you got transmit receive side. So you get a little
8 bit creative and you go, guess what, I'm going to
9 try to do some non-standard pairing so that I can
10 use spectrum here and stay out of the top side.

11 Or I go -- I can look at and we are.
12 We look at, you know, there's an incumbent on
13 channel 66, but I'm at the bottom of channel 65.
14 And I bet you with some unique engineering, and I'm
15 going to obviously have to talk to the Commission
16 and the broadcast incumbent, but I think we could
17 prove with them reasonably well that we're not
18 going to cause the broadcaster interference.

19 Much like all the other discussions,
20 the Commission sort of gave us some very specific
21 kind of things. The only thing they told us we
22 can't do is cellular infrastructure. And that was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to be careful with public safety and watch out for
2 the broadcasters. But go and prosper. But to get
3 to the point, I want to point out the beauty of the
4 band manager about the zoning changes over time.
5 So we're going to be reluctant to do long term
6 leases because I don't want to encumber new
7 opportunities, new technologies, other things as
8 the band develops and as technology develops. So
9 we're sort of in the midst of all of this kind of
10 thing but we have -- flexibility is good. The
11 technologies we wrestle, we don't necessarily
12 wrestle, but we're challenged with all of these
13 types of matters everyday as we process requests
14 for our spectrum.

15 MR. STANLEY: Great. Other comments on
16 these other techniques like negotiated rulemaking,
17 the frequency coordination function, guard band
18 manages, or band manages?

19 David?

20 MR. HAGEMAN: Most of the all the
21 issues the small carriers deal with are pretty well
22 specified by the rules. And they worked well for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 us. I would tend to think in some of these, if
2 it's negotiated depending on how those negotiations
3 go and who they're with, that a lot of the economic
4 issues need to be taken out of it to what we had it
5 clear that there's a set of guidelines that we
6 should all go by. I don't think there would be any
7 issues with the small guys with sitting down with a
8 large carrier or you know someone else and talking
9 through those as long as we're all on a level
10 playing field.

11 MR. STANLEY: Sure. Nancy?

12 MS. JESUALE: Well, I'm thinking about
13 our situation as the situation of public safety and
14 it seems like both those options would be really,
15 really useful if we had access to them. In fact, I
16 believe there is a proposal to swap and reallocate
17 some spectrum in 800 to kind of deal with the
18 problem that is essentially I think a negotiated
19 rulemaking. But it's not becoming a rule. It's
20 going through a secondary process, I guess, which
21 is opening it up for more due diligence and
22 ultimately, it may be adopted or it may be changed.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22

But that process of sitting down and saying okay, what are you going to do with the other party was very productive I think for all of us. And if we had a band manager, I'd have somebody to go wave my flag at. So that would be great, too.

MR. STANLEY: Dick.

MR. SMITH: Well, as someone who had a hand in enforcement for a number of years, I can certainly endorse anything that reduces or eliminates the number of necessary enforcement cases. Anything like negotiated rulemaking or cooperation amongst the users that can be encouraged is certainly a worthwhile endeavor. The Commission staff and everybody large enough, there will never be enough funds, people to carry out large numbers of enforcement cases. As society gets more complicated, we find ourselves in court more. It would be an impossible task, if there wasn't a large component of cooperation expected on the part of the spectrum users. I just think the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Commission ought to do everything it can to promote
2 and encourage that.

3 MR. STANLEY: Thank you.

4 MR. STORCH: I'll concede, I'm not as
5 familiar with the band manager concept. I think
6 conceptually it sounds like a very good idea in the
7 sense of an approved process. It would set for the
8 incumbents an expectation that says hey, you don't
9 have a lease in perpetude here. It's a set period
10 of time so they can appropriately plan and
11 capitalize and deal with their levies or their
12 budgets, especially speaking more to the public
13 safety.

14 On the same token, it will help
15 potentially some of the more aggressive operators,
16 or if you will, developers to adjust to the needs
17 of the band if you will. Be able to in the
18 scenario of you can only build it for a hundred
19 rooms. In five years, we can revisit it. You
20 can't, if you will. The Nextel scenario is well,
21 they started out at about a 100 rooms and all of a
22 sudden they needed a 1,000 rooms and they just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 built it, if you will, I think is the allegation.

2 (Laughter.)

3 But I think the concept of that, where
4 it's considered just a frequency coordination,
5 here's your channel, go off and run away. More of
6 a continual process of managing that band I think
7 would be a benefit to all.

8 MR. CROSBY: Let me, I meant to add one
9 other thing we absolutely intend to do is
10 literally, what you used to do. We're going to go
11 out and look, field test, keep track of things, and
12 we tell them the prospective uses or expect we're
13 going to come out and look. Maybe not this year,
14 but sometime within the term of your lease
15 agreement we're coming out and we're going to
16 check. And you know what I found? Everybody I've
17 talked to says please come out and check because I
18 know you're checking everybody else. And they go
19 I'm now, and this may be a good message for the
20 Commission. It sort of helps the integrity of the
21 whole spectrum process, and people sort of take
22 care of their systems a little better when they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 know they might -- and we will.

2 MR. STANLEY: A visit from Dick Smith.

3 MR. CROSBY: Yes, you could do some of
4 my things.

5 MR. STANLEY: I'll give you my card.
6 Well, it's just three o'clock now, I guess, so we
7 know we have at least two people who have to make
8 some plane connections fairly promptly, but I would
9 certainly like to throw the discussion open to
10 questions or comments from the public.

11 Question here?

12 MR. LOCKIE: Stephen, I assume that big
13 LEO turned into LMDS and that was a good example of
14 negotiated rulemaking although it took a long time.

15 It points out though somebody made the comment we
16 need the Commission to be an engineer. I don't
17 think that's a case because engineers, we're all
18 terrible managers, as a rule. What we need is a
19 good manager up there. But what we need are good
20 engineers. Get them and keep them within the FCC
21 because they make good referees and the game is
22 great when you've got good referees. And there are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 many times during the LDMS negotiations where some
2 engineer would be told by his boss to say up is
3 down and the smart FCC engineer there would say
4 that's not crazy. And that's invaluable. So keep
5 doing that. Get good engineers and keep them.

6 MR. STANLEY: Other questions or
7 comments please?

8 (Pause.)

9 Well, seeing none and hearing none, let
10 me sort of bring this particular panel to a close.

11 I want to thank the audience very much and also
12 thank our panelists. We've had people who have
13 come from afar and actually made some sacrifices to
14 be here this day, and let me sort of sincerely
15 express our gratitude to you all for staying with
16 us like this.

17 So thank you very much, it's greatly
18 appreciated.

19 (Applause.)

20 (Whereupon, at 3:04 p.m., the workshop
21 was concluded.)

22

1
2
3
4
5
6
7
8
9