

1 UNITED STATES

2 ENVIRONMENTAL PROTECTION AGENCY

3
4 * * * * *

5
6 DISASTER DEBRIS REDUCTION PROJECT FOR
7 RESIDENTIAL BUILDING DEBRIS FROM
8 HURRICANE KATRINA
9 CHALMETTE, LOUISIANA

10
11 * * * * *

12
13 ENVIRONMENTAL PROTECTION AGENCY

14 PUBLIC MEETING

15 Wednesday

16 JUNE 11, 2008

17 7:10 P.M.

18
19 * * * * *

20
21
22 BEFORE:

23 Angie Henning, CCR, CVR

24 Certified Court Reporter

25 In and for the State of Louisiana

A P P E A R A N C E S

Sam Coleman, EPA

Superfund Division Director

Jeff Frithsen, EPA

Office of Research and Development

Roger Wilmoth, EPA

Office of Research and Development

Fran Kremer, EPA

Office of Research and Development

Pam Travis, EPA

Deputy Regional Counsel Officer

Nancy Jones, EPA

Superfund OSC, Region 6

Lacy Smith

Tulane Environmental Law Clinic

Leo Demaris

St. Bernard Resident

Linda Swanner

St. Bernard Resident

Mike Swanner

Tulane Environmental Law Clinic

Mike Murphy

St. Bernard Resident

EPA PUBLIC MEETING

DISASTER DEBRIS REDUCTION PROJECT

Chalmette, Louisiana

Wednesday, June 11, 2008

7:10 p.m.

* * * * *

MR. SAM COLEMAN, EPA:

Good evening, my name is Sam Coleman. I have a team of people here. The very brief and basic agenda is that we have some fairly short presentations to explain what the test is all about. We actually have a short video. And then we're going to be available to answer questions that folks may have.

First, I will start with my team from Dallas. I have Nancy Jones who -- hold your hand up.

MS. NANCY JONES, EPA:

(Complies.)

MR. SAM COLEMAN, EPA:

Everybody knows Nancy. Nancy is my on-the-scene coordinator. Her current job is to manage all of my Louisiana hurricane recovery-related activities. And just as

1 a footnote, we still have activities
2 ongoing relative to recovery from the
3 hurricane even today. So we are still
4 active in doing things.

5 Pam Travis works in our Office of
6 Regional Counsel. She is the acting
7 Deputy Regional Counsel for EPA in Dallas.

8 Fran Kremer -- Fran is with the Office
9 of Research and Development. And as you
10 thumb through the Facts Sheet, you will
11 see she is the ORD principal technical
12 contact for our project.

13 Jeff -- I think it is Frithsen.

14 **MR. JEFF FRITHSEN, EPA:**

15 That will work.

16 **MR. SAM COLEMAN, EPA:**

17 Frithsen?

18 **MR. JEFF FRITHSEN, EPA:**

19 Yes, Frithsen.

20 **MR. SAM COLEMAN, EPA:**

21 Frithsen, okay. Jeff also works with
22 Fran in ORD. And then finally, I say,
23 last but not least is Roger Wilmoth who is
24 -- I don't know, do you introduce yourself
25 as the world's foremost expert?

1 **MR. ROGER WILMOTH, EPA:**

2 No, hell, no.

3 **MR. SAM COLEMAN, EPA:**

4 But Roger is a well-respected expert
5 in the area of asbestos monitoring and
6 abatement and has worked for the Agency
7 for quite some time, and is very much
8 engaged in this project as a technical
9 consultant and helps us all out with a
10 whole host of issues. So with that, I am
11 going to turn to Nancy who is going to
12 brief you on the very basics of the
13 project.

14 **MS. NANCY JONES, EPA:**

15 Well, we are planning on conducting a
16 burn in an air curtain destructor type
17 unit of vegetative material and
18 construction and demolition material.
19 When I say construction and demolition
20 material, I mean houses that are
21 construction and demolition houses that
22 have been demolished as a result of the
23 Hurricane Katrina damage and will be
24 brought to our test site and loaded into
25 the Air Burner that we will use for the

1 purpose of the test.

2 We plan to start the test at this
3 point the week of June 23rd, probably
4 starting with the vegetative material on
5 the 24th. And then once we have completed
6 the vegetative portion of the test, the
7 one C&D house which we plan to test, we
8 have elected at this time to only have our
9 test be composed of those two aspects of
10 the test right now.

11 Previously, we were planning on doing
12 a RACM portion, but we have decided that
13 we would like to just do the vegetative
14 and C&D burn so that we can gather data in
15 an effort to be prepared in the future to
16 do the next component of the test. But we
17 do feel at this time that it is important
18 for us to gather the data from the
19 vegetative and C&D portion before we move
20 forward.

21 We do have a video we would like to
22 show on how the Air Burner works. It is a
23 video of vegetative material being burned.

24 **MR. ROGER WILMOTH, EPA:**

25 And we'll show the location.

1 **MS. NANCY JONES, EPA:**

2 Yes. And we also have a map showing
3 where the test site is in relation to the
4 closest businesses and residences. This
5 is the site where currently the Parish
6 brings all of the vegetative material to
7 be chipped and the C&D material to be
8 chipped.

9 It was a location that we coordinated
10 with the Parish, that the Parish suggested
11 and felt like it would be the most
12 appropriate location. That's why they
13 chose it for their staging area because
14 they felt like it was in a remote area and
15 that it would be appropriate for these
16 types of staging and treatment activities.

17 Over here (indicating) we have a
18 close-up of the burner. The burner has
19 vegetative material burning in that
20 particular photo. In the handouts we
21 provided, the burner company provided us
22 with a brochure about the actual unit that
23 we will be using. So it has some details
24 about the actual piece of equipment.

25 I think at this time it will probably

1 be good to go ahead and show a little clip
2 of the actual burner in operation.

3 **MS. FRAN KREMER, EPA:**

4 (Playing video clip of burner in
5 operation.)

6 **UNIDENTIFIED AUDIENCE SPEAKER:**

7 Would you turn the volume up?

8 **MS. FRAN KREMER, EPA:**

9 (Adjusting volume on video.)

10 **MR. ROGER WILMOTH, EPA:**

11 Would you like us to run it again?

12 **LINDA SWANNER:**

13 Did they say something about the
14 temperature? I couldn't hear that part.

15 **MS. NANCY JONES, EPA:**

16 It is just up to 2,000 degrees
17 Fahrenheit is what we've been told. And
18 the reason why we are interested in this
19 technology is because at the beginning of,
20 you know, our Hurricane Katrina response,
21 you know, there was a concern, you know,
22 of all the homes that needed to be
23 demolished and whether or not there was
24 enough landfill capacity.

25 And so we're really interested in

1 looking at innovative technology that can
2 be utilized to reduce the amount of waste
3 that goes into landfills. And so we're
4 not doing this test in an effort to
5 advocate these particular technologies, we
6 just feel like it is important to evaluate
7 them to ensure that they are really
8 appropriate to use in these types of
9 settings.

10 And so without actually conducting the
11 test and getting the data, then we
12 wouldn't be able to make that assessment.
13 So this is one technology that we have
14 decided that we want to assess at this
15 time.

16 Again, out of concern for conserving
17 landfill space in the future so that
18 additional landfills wouldn't have to be
19 created just for disasters of the Katrina
20 nature.

21 **MR. SAM COLEMAN, EPA:**

22 Okay. As I said, very simple and
23 straight forward. So do you guys have any
24 questions or comments that anybody wants
25 to make?

1 **UNIDENTIFIED AUDIENCE SPEAKER:**

2 (Raising hand.)

3 **MR. SAM COLEMAN, EPA:**

4 Yes, sir?

5 **UNIDENTIFIED AUDIENCE SPEAKER:**

6 I'll just wait.

7 **MR. SAM COLEMAN, EPA:**

8 Okay. Go ahead, he has deferred to
9 you.

10 **UNIDENTIFIED AUDIENCE SPEAKER:**

11 I've got two questions right off the
12 bat. What is vegetative and C&D? Does
13 that mean trees and construction and
14 demolition stuff?

15 **MS. NANCY JONES, EPA:**

16 Yes.

17 **UNIDENTIFIED AUDIENCE SPEAKER:**

18 And what parameters are you going to
19 use to evaluate that box?

20 **MS. NANCY JONES, EPA:**

21 Well, we are circling the box with two
22 rings of air monitors, so we will be
23 collecting samples with these units and
24 sending them off to a lab and evaluating
25 the data to determine the emission rate

1 and what is being emitted and that type of
2 thing.

3 And during the entire test, we will
4 have a meteorological station at our test
5 site and we will be looking at the wind
6 speed and wind direction. And you know,
7 if the wind speed is too high or the wind
8 direction is looking like it -- you know,
9 if the emissions would impact the
10 residents or the businesses across the
11 street, then we will discontinue the test.

12 **MR. SAM COLEMAN, EPA:**

13 Well, let me ask -- maybe ask Fran
14 one. I am not sure if it is Fran for
15 this. But could you talk a little bit
16 more about the monitoring that takes place
17 or the burning itself as well as the ring?

18 **MS. FRAN KREMER, EPA:**

19 We are going to be doing monitoring of
20 the gases coming off the unit, which will
21 be a variety of gases.

22 **UNIDENTIFIED AUDIENCE SPEAKER:**

23 Which will be what kind of gases? I'm
24 sorry.

25 **MS. FRAN KREMER, EPA:**

1 A variety of gases. We are going to
2 be looking at, obviously, combustion
3 effectiveness. We will be looking at the
4 VOCs.

5 **UNIDENTIFIED AUDIENCE SPEAKER:**

6 Acronyms don't --

7 **MS. FRAN KREMER, EPA:**

8 Okay. I apologize, and I shouldn't
9 say them.

10 **THE COURT REPORTER:**

11 Do you-all mind maybe moving up?
12 There is no way -- we need to be able to
13 hear you.

14 **UNIDENTIFIED AUDIENCE SPEAKER:**

15 You can't hear us?

16 **THE COURT REPORTER:**

17 You-all are being recorded and there
18 is no way --

19 **MR. SAM COLEMAN, EPA:**

20 We can -- we all like each other so we
21 can just come in closer.

22 **THE COURT REPORTER:**

23 I'm very sorry. Usually, if it's a
24 bigger crowd, I would make each individual
25 come up before you ask questions.

1 **UNIDENTIFIED AUDIENCE SPEAKER:**

2 I'll repeat my comment. And it goes
3 back to -- when you were presenting as
4 well, you said RACM, VOCs, C&D, just do
5 your best to dispense with the acronyms.

6 **MS. FRAN KREMER, EPA:**

7 We will, and I apologize for that and
8 thank you for reminding me of that as
9 well. We put a different --

10 **MR. ROGER WILMOTH, EPA:**

11 It is, in fact, very difficult for us
12 to do that.

13 **UNIDENTIFIED AUDIENCE SPEAKER:**

14 I know. That's why I made a point of
15 it.

16 **MS. FRAN KREMER, EPA:**

17 Thank you. So then we'll be looking
18 at a range of different chemicals coming
19 off of from the gas, and as well we will
20 be looking at the ash, the residuals in
21 the ash in the box to determine what is
22 the composition of that ash. So that is
23 going to include various metals.

24 We will be looking for things also
25 such as dioxins, PCBs, a range of

1 materials that in general would be
2 considered that as a source of materials,
3 but also could be what we consider called
4 "combustion byproducts," that would be
5 part of that process.

6 So we are doing a full array of
7 analysis on the ash material and we will
8 be doing the monitoring of the gas that is
9 coming off the box as well.

10 **MR. SAM COLEMAN, EPA:**

11 And just for the record, VOCs are
12 volatile organic compounds.

13 **UNIDENTIFIED AUDIENCE SPEAKER:**

14 All right.

15 **MR. SAM COLEMAN, EPA:**

16 And C&D is construction and demolition
17 as Nancy explained. RACM is regulated
18 asbestos containing materials.

19 **MS. NANCY JONES, EPA:**

20 And PCBs are polychlorinated
21 byphenyls.

22 **MR. ROGER WILMOTH, EPA:**

23 The primary data is going to be taken
24 right at the top of the box where the off
25 gases are going to emitted. If they are

1 off, in fact, they are emitted. The
2 perimeter monitoring is really just there
3 as a backup.

4 If anything happens and the data is
5 not adequate from, you know, the
6 monitoring from the actual discharge of
7 the plume, why then, the perimeter
8 monitors are going to pick that up.

9 **UNIDENTIFIED AUDIENCE SPEAKER:**

10 So what you're saying is that when the
11 duct tape melts that holds that little
12 gizmo to the top and falls into the thing,
13 you have the outside one?

14 **MR. ROGER WILMOTH, EPA:**

15 Right.

16 **UNIDENTIFIED AUDIENCE SPEAKER:**

17 Okay. Just checking.

18 **MS. NANCY JONES, EPA:**

19 It's welded.

20 **MR. SAM COLEMAN, EPA:**

21 There won't be any duct tape.

22 **UNIDENTIFIED AUDIENCE SPEAKER:**

23 Just checking.

24 **MR. SAM COLEMAN, EPA:**

25 Yes, sir, you have a question.

1 **UNIDENTIFIED AUDIENCE SPEAKER:**

2 It was basically -- we've covered it,
3 yeah.

4 **UNIDENTIFIED AUDIENCE SPEAKER:**

5 So, Nancy, how does the box work? You
6 know, I am kind of getting the idea that
7 the air curtain -- this air curtain
8 technology is what the box is about.

9 **MS. NANCY JONES, EPA:**

10 Yes.

11 **UNIDENTIFIED AUDIENCE SPEAKER:**

12 And you're using the stuff that is
13 actually the trash to fuel the fire, is
14 that the idea?

15 **MS. NANCY JONES, EPA:**

16 Yes.

17 **UNIDENTIFIED AUDIENCE SPEAKER:**

18 And you're just blowing a whole lot of
19 air around?

20 **MS. NANCY JONES, EPA:**

21 Yes. You start with the vegetative
22 feed material as a feed stock.

23 **UNIDENTIFIED AUDIENCE SPEAKER:**

24 Oh, okay. Yes, vegetative, right,
25 before we put the C&D in there.

1 **MS. NANCY JONES, EPA:**

2 Even when we're burning the
3 construction and demolition house, there
4 will be a certain amount of vegetative
5 material that will have to go in to keep
6 the fire hot.

7 **UNIDENTIFIED AUDIENCE SPEAKER:**

8 Okay. So just for the sake of all of
9 us, let's just presume that maybe one of
10 us has been through the massive
11 regulations made by the communist EPA in
12 Washington, DC, and so, you know, we see a
13 lot of stuff. This looks like a pretty
14 good deal.

15 I mean, in terms of when I ask a
16 question about evaluation, do you-all
17 actually evaluate the cost and see if it
18 just works?

19 **MS. NANCY JONES, EPA:**

20 Yes. Now, let me -- part of the test
21 --

22 **MR. SAM COLEMAN, EPA:**

23 Wait. But hang on, you said evaluate
24 the cost?

25 **UNIDENTIFIED AUDIENCE SPEAKER:**

1 Right, uh-huh.

2 **MR. SAM COLEMAN, EPA:**

3 No. We are not evaluating the cost of
4 the technology versus another technology,
5 per se.

6 **UNIDENTIFIED AUDIENCE SPEAKER:**

7 I see.

8 **MR. SAM COLEMAN, EPA:**

9 We're evaluating the technical
10 efficacy of --

11 **UNIDENTIFIED AUDIENCE SPEAKER:**

12 The technology?

13 **MR. SAM COLEMAN, EPA:**

14 -- the technology, not the cost.

15 **MS. NANCY JONES, EPA:**

16 Well, what aspect --

17 **UNIDENTIFIED AUDIENCE SPEAKER:**

18 The environmental effectiveness of
19 that?

20 **MR. SAM COLEMAN, EPA:**

21 Yes.

22 **UNIDENTIFIED AUDIENCE SPEAKER:**

23 Okay.

24 **MS. NANCY JONES, EPA:**

25 We will look at the cost effectiveness

1 of doing this versus just everything going
2 to a landfill, that is one aspect that we
3 talked about doing, so that is one
4 component.

5 **MS. FRAN KREMER, EPA:**

6 Well, I think it is going to be fairly
7 straight forward in terms of looking at,
8 well, what is it going to cost for the
9 unit and what is it going to cost for an
10 operator to do this. And then looking at
11 this aspect of -- of course, with the
12 price of fuel these days the transport
13 fees is going to be a variable that is
14 going to be included if they are to
15 consider to moving that to the landfill.
16 But at the end of the day the cost for
17 this unit and the operation is pretty
18 straight forward.

19 **MS. NANCY JONES, EPA:**

20 Right.

21 **MS. FRAN KREMER, EPA:**

22 But we are not focused on --

23 **MR. ROGER WILMOTH, EPA:**

24 But we also want make an estimate of
25 the productivity.

1 **MS. FRAN KREMER, EPA:**

2 Right. We are -- on this particular
3 one, we are not interested -- I mean, our
4 ultimate goal is not what the highest
5 return we can get for this.

6 **MS. NANCY JONES, EPA:**

7 Right.

8 **MS. FRAN KREMER, EPA:**

9 What we wanted -- our key goal on this
10 test is to get the best data available.

11 **UNIDENTIFIED AUDIENCE SPEAKER:**

12 So how did you-all come about picking
13 us for this project? Is the far-sighted
14 grand scheme that maybe St. Bernard Parish
15 would wind up with one, or is this a
16 portable kind of device that you're using
17 just for emergency response and that kind
18 of thing?

19 **MS. NANCY JONES, EPA:**

20 Right, exactly. It is a portable
21 device. Again, you know, this is kind of
22 a spin-off from the Hurricane recovery
23 effort that we were looking at, you know.

24 Now that things have calmed down -- it
25 was during the height of the Katrina

1 response there was no way we would have
2 been able to, you know, gather all the
3 data and time to be able to utilize this
4 technology for Katrina. But because
5 Katrina did highlight the fact that, you
6 know, landfill capacities can be an issue
7 during large national disasters.

8 And you know in the last several years
9 there have been a lot of natural disasters
10 whether it's hurricanes, tornados, or when
11 some parts of the country floods, and so
12 as a result we saw a need to look at
13 alternatives and expanding our toolbox to
14 have other possibilities of ways to
15 address the amount of debris that is
16 generated in a disaster.

17 **MR. SAM COLEMAN, EPA:**

18 Okay. I want you to answer one other
19 question though, which is the, why St.
20 Bernard Parish?

21 **MS. NANCY JONES, EPA:**

22 Right. And, again, we looked
23 specifically at the parishes that still,
24 you know, were continuing to recover from
25 the storm and St. Bernard had a lot of the

1 housing stock that was appropriate for
2 this type of test. And the Parish, you
3 know, expressed an interest and a
4 willingness to participate with us.

5 And so, therefore, we worked with
6 them. We made sure of any questions that
7 they that had, that we addressed and we
8 proceeded forward. So another aspect
9 that, you know, we looked at when we
10 considered Orleans Parish is there really
11 weren't spots that were remote and became
12 appropriate like there was here. You
13 know, this site because they were using it
14 as a staging area for C&D and doing
15 chipping here, this really seems like an
16 ideal location.

17 **MR. SAM COLEMAN, EPA:**

18 Okay. The gentleman in the back. You
19 have to stand up.

20 **LEO DEMARIS:**

21 Yes, sir. I have a couple of
22 questions. I didn't know if you wanted us
23 to identify ourselves for your record or
24 not. You didn't say that earlier.

25 **THE COURT REPORTER:**

1 That's what I would have liked.

2 **LEO DEMARIS:**

3 Would you like for me to start it?

4 **THE COURT REPORTER:**

5 If you would like to, that's fine.

6 **LEO DEMARIS:**

7 Okay. My name is Leo Demaris. I
8 represent the insulators and asbestos
9 workers in New Orleans and Baton Rouge and
10 I also represent quite a few residents of
11 St. Bernard Parish. There are a couple
12 of questions I have. Nancy or Sam can
13 answer them, either one of them. It
14 doesn't matter to me.

15 You mentioned earlier that you were
16 not going to have any testing regulating
17 asbestos containing materials.

18 **MS. NANCY JONES, EPA:**

19 Yes.

20 **LEO DEMARIS:**

21 And can you tell me why?

22 **MS. NANCY JONES, EPA:**

23 Well, we decided at this time that it
24 was more important for us to gather data
25 on doing the construction and demolition

1 material so that we were more prepared in
2 the future, you know, should there be
3 another disaster of this kind, that this
4 technology might be appropriate to use.

5 If we have enough data, then we would
6 feel more comfortable going forward. But
7 we thought it was a good time to take this
8 into a step-by-step approach, and, you
9 know, look at the vegetative material that
10 is commonly burned during disasters.

11 Oftentimes, it is burned openly. And
12 so we thought, you know, with this type of
13 technology would be good to evaluate the
14 vegetative material and then the next, you
15 know, small step is the C&D material that
16 we thought would be a good idea to go
17 ahead and evaluate.

18 Many, many years ago, C&D material was
19 burned in Florida during Hurricane Andrew,
20 but there is not a lot of data on that.
21 And so while, you know, burning vegetative
22 and just burning C&D there is not a
23 regulation against that, it can be done
24 already. There is just not a lot of data
25 on it.

1 And so we felt like this is a good
2 opportunity. You know, a key time
3 basically to be able to do the research,
4 scan the data before we go forward with
5 burning regulated asbestos containing
6 material.

7 **LEO DEMARIS:**

8 All right. Now, let me ask you this,
9 excluding C&D material, what do you -- or
10 what do you-all consider regulated
11 asbestos containing material that would
12 have been burned here or will be burned
13 here at some point down the road.

14 **MR. ROGER WILMOTH, EPA:**

15 This is Roger Wilmoth. It would be
16 those amounts that are regulated under the
17 NESHAP.

18 **MS. FRAN KREMER, EPA:**

19 You can explain NESHAP, Roger.

20 **MR. ROGER WILMOTH, EPA:**

21 Oh, I'm sorry, yeah. The National
22 Emission Standards for Hazardous Air
23 Pollutants for asbestos. Thank you, Fran.

24 And those limits are, you know, really
25 well-defined, you know, quantity limits,

1 for your wall board, for your joint
2 compound, for your roofing, for any other
3 insulation that you have in the house, any
4 of the thermal insulation that you have on
5 your pipes, although that is kind of
6 unusual for houses. So those would be the
7 ones that would come under the RACM,
8 regulated asbestos containing materials.

9 **LEO DEMARIS:**

10 Now, who certifies that the C&D
11 material that you are about to burn
12 doesn't have that regulated material in it
13 now?

14 **MR. ROGER WILMOTH, EPA:**

15 We have already evaluated those
16 houses, and we had a complete survey by a
17 licensed asbestos consultant from this
18 area.

19 **LEO DEMARIS:**

20 Can you give me the name?

21 **MR. ROGER WILMOTH, EPA:**

22 EEG.

23 **LEO DEMARIS:**

24 EEG is --

25 **MR. ROGER WILMOTH, EPA:**

1 Environmental Enterprise Group, I
2 think; is that right? (Inaudible.)

3 **MS. NANCY JONES, EPA:**

4 And also the Parish --

5 **MR. ROGER WILMOTH, EPA:**

6 Bob Smith is the contact there.

7 **LEO DEMARIS:**

8 Local folks?

9 **MR. ROGER WILMOTH, EPA:**

10 Bob is licensed here. I don't know
11 where his main office is. It might be in
12 Arkansas.

13 **MS. NANCY JONES, EPA:**

14 And he also -- he got some data from
15 the Parish demolition contractors that
16 they offered because they told him they
17 were going to demolish anyway through
18 FEMA. So they also do their own asbestos
19 inspection. And so he compared our
20 results to their results to make sure we
21 both agreed that it was a C&D house.

22 And my understanding on this
23 particular house is that it was less than
24 1 percent in the joint compound and it was
25 located in 80 square feet of the house, so

1 it was a large house. It is one and a
2 half stories.

3 I don't know how many square feet the
4 total house is. But, again, it was a
5 very, very small amount that was
6 identified in a small portion of the
7 house.

8 **LEO DEMARIS:**

9 Well, you know, the material that you
10 described that would be considered as
11 regulated asbestos containing material is
12 everything that you would see in a
13 demolished house, wall board, insulation,
14 roofing material, siding material, all
15 those things that you described a moment
16 ago when I asked you what would be burned
17 that you-all would consider regulated
18 material, is that what is going to be
19 scooped with these houses?

20 **MR. SAM COLEMAN, EPA:**

21 No, no, no. That's the --

22 **LEO DEMARIS:**

23 That's what he said though, Sam,
24 didn't he?

25 **MR. SAM COLEMAN, EPA:**

1 That's not exactly what he said. What
2 -- the process works this way for any
3 material depending on how it's made, where
4 it was made, and the contents. Certain
5 types of material, we know have a
6 potential of containing asbestos. Floor
7 tiles, wall boards, joint compounds,
8 shingles, all types of things. They don't
9 necessarily contain asbestos.

10 It depends on where they were made,
11 the specific materials, there are a whole
12 series of things, and we have been
13 tracking these issues from where they
14 originate in the mines, the minerals
15 themselves and we track what likely
16 contains asbestos and what does not.

17 So the reason we sample and test the
18 houses is that -- and we know where to
19 look -- because of that experience and the
20 base of knowledge that exists. You take
21 that and you transfer it into a house that
22 is actually sampled, then we know that the
23 asbestos containing materials in that
24 house do exist in the roofing materials or
25 the floor tile, etc., etc., because they

1 were sampled.

2 **LEO DEMARIS:**

3 All right.

4 **MR. SAM COLEMAN, EPA:**

5 We know it does exist in this small
6 amount of the joint compound because that
7 was also sampled. So whereas in one house
8 that is sampled, you may find some
9 regulated asbestos meaning that it is
10 greater than a certain percentage, another
11 house is sampled and it does not contain
12 those materials. Just because there are
13 shingles on both houses doesn't
14 necessarily mean there is asbestos in all
15 shingles.

16 It is only in certain shingles. And
17 that can be determined from our samples.
18 And that's what we're trying to say is we
19 sampled this house and the only thing that
20 we found was this small amount of joint
21 compound which is a very small percentage
22 of a house, 80 square feet out of a one
23 and a half story house.

24 I don't -- there is an inspection
25 report that says how big the house is.

1 Actually, I've seen the house myself.
2 It's got to be 1,500 square feet or
3 something. So it's a small amount.

4 **LEO DEMARIS:**

5 One more question. I've got a couple
6 more if you don't mind. Is that house --
7 do you know when it was built? For
8 example, because it could depend on when
9 the house was built.

10 **MR. SAM COLEMAN, EPA:**

11 Absolutely.

12 **LEO DEMARIS:**

13 That can have a big difference on how
14 much regulated asbestos containing
15 material it might have in it.

16 **MR. SAM COLEMAN, EPA:**

17 That becomes a job of the inspector.
18 I have -- the inspection report contains
19 that type of material. I haven't reviewed
20 it at this stage.

21 **LEO DEMARIS:**

22 A lot of this parish and a lot of the
23 other areas around here -- I live here. I
24 mean, I understand the problem that we
25 have. But a lot of these homes that we're

1 talking about are old homes. And I would
2 be interested to know if the samples that
3 the EPA took, are they going to used for
4 this --

5 **MR. SAM COLEMAN, EPA:**

6 It's not an older home.

7 **LEO DEMARIS:**

8 See, now, I think that really skews
9 the report then. You know, you need --
10 there needs to be some testing of some
11 older homes to see how much asbestos
12 containing material are in those homes
13 before this thing moves on. Don't you
14 think that would be a good measure?

15 **MS. NANCY JONES, EPA:**

16 Well, we are certainly going to be
17 looking for a home that --

18 **MR. SAM COLEMAN, EPA:**

19 Did not contain asbestos.

20 **MS. NANCY JONES, EPA:**

21 -- did not contain. Yes, we are
22 looking for --

23 **MR. SAM COLEMAN, EPA:**

24 We are not looking for a house with
25 asbestos.

1 **MS. NANCY JONES, EPA:**

2 -- a construction and demolition home
3 that is -- yeah, that has no regulated
4 asbestos. That was the point, to not look
5 for -- I mean, that would be the next
6 phase of test -- after we collect this
7 data, then, you know, that would be
8 another test altogether.

9 **LEO DEMARIS:**

10 Okay. Then one other thing I wanted
11 to asked, you started off, Nancy, by
12 talking about what gave rise to this whole
13 thing was the volume of material that
14 needed to be disposed of and the fact that
15 there needed to be some focus on reducing
16 that volume.

17 **MS. NANCY JONES, EPA:**

18 Uh-huh.

19 **LEO DEMARIS:**

20 Has anybody certified the fact that we
21 don't have a place to put it as-is? Are
22 there no other landfill opportunities for
23 us? Is there certification to that just
24 so --

25 **MS. NANCY JONES, EPA:**

1 Oh, no, no, no. Sir, there is no one
2 saying that there is not landfill
3 capacity. We are just saying that, you
4 know, as there seems to be a rise in the
5 number of natural disasters that have been
6 happening in the recent years, we see a
7 need to be proactive. And, you know, try
8 to look at reducing volume so that there
9 is not a problem in the future. So this
10 is just a proactive measure because there
11 are alternatives to everything going
12 directly to a landfill.

13 **UNIDENTIFIED AUDIENCE SPEAKER:**

14 I have a comment that might shed some
15 light on that question.

16 **MR. SAM COLEMAN, EPA:**

17 Okay. Go ahead.

18 **UNIDENTIFIED AUDIENCE SPEAKER:**

19 You know, right after this disaster
20 during the cleanup over on Peters Road in
21 Harvey the answer to the vegetative
22 material was to stack it all up in a big
23 lot between the Westbank Expressway and
24 Lapalco about right on the edge. Did you
25 know --

1 **MR. SAM COLEMAN, EPA:**

2 I know about that.

3 **UNIDENTIFIED AUDIENCE SPEAKER:**

4 Right on the edge of the Harvey Canal.
5 And their air box was a blow torch and
6 some diesel fuel to light some trees off.
7 And their environmental study considered
8 of sticking their finger in the wind and
9 hoping the wind blew toward the canal
10 instead of toward the houses in the back,
11 because if they didn't do that, they
12 didn't have no where to go with the
13 debris. So I am figuring that all they
14 are trying to do is try this box out just
15 this one time to see if it works; right?

16 **MR. SAM COLEMAN, EPA:**

17 I think you said it as well as we said
18 it.

19 **UNIDENTIFIED AUDIENCE SPEAKER:**

20 To secure that problem because of --

21 **LEO DEMARIS:**

22 My issue isn't -- my concern is not of
23 burning vegetative material. My concern
24 is simply, when you start moving into
25 construction and demolition material in

1 areas that are old and you say that the
2 only thing in these houses that contain
3 asbestos material is a little bit of your
4 drywall compound on the house.

5 I know for sure that St. Bernard
6 Parish other than a few neighborhoods was
7 a mature parish. A lot of homes have been
8 around here.

9 I have a lot of retirees in my union
10 that were wiped out out here that have
11 been living in them same homes since in
12 the '60s before asbestos was even
13 regulated at all.

14 **MS. NANCY JONES, EPA:**

15 And that's why we have tried to be
16 very selective, and we went through a long
17 process to make sure that we chose an
18 appropriate house, because we didn't want
19 to choose a house that contains regulated
20 asbestos material.

21 **LEO DEMARIS:**

22 What house and address was chosen?

23 **MS. NANCY JONES, EPA:**

24 Well, we are not really allowed to
25 give out site addresses. So I am not

1 prepared to give that to you at this time.
2 You would have to actually go through our
3 FOIA process go through our counsel and
4 make a determination of whether or not
5 that information can be released. But at
6 this time, I am not able to give out that
7 information because it is private
8 information.

9 **MR. SAM COLEMAN, EPA:**

10 This young lady has a question.

11 **LACY SMITH:**

12 I was just wondering if it is possible
13 to release those evaluations, perhaps,
14 with the private information redacted onto
15 the website that already has a variety of
16 other materials, that way people like Mr.
17 Demaris --

18 **LEO DEMARIS:**

19 That's correct.

20 **MR. SAM COLEMAN, EPA:**

21 Yes.

22 **LACY SMITH:**

23 For people who are concerned, a place
24 for them to look and see for themselves
25 and for those questions.

1 **MR. SAM COLEMAN, EPA:**

2 Right. There is a point in time that
3 information can be released. The house
4 has not been demolished.

5 And our understanding is we can't
6 release information about houses that have
7 not been demolished because there is a
8 whole process and people have their own
9 interests relative to what information
10 they may want to release and their
11 expectation of privacy. But we have to
12 deal with the process. Once the house has
13 gone through the entire process and it has
14 been demolished, then that information can
15 be released.

16 **LEO DEMARIS:**

17 And then, obviously, there are
18 opportunities in the event that there was
19 a brand new 2005 model where an objection
20 can be raised and maybe the testing should
21 be done on some 1960 model homes.

22 **MR. SAM COLEMAN, EPA:**

23 Well, I understand your point that I
24 think the basic message that we have is
25 substantially different from what you're

1 saying. And that is, we are not trying to
2 test what it is like to burn a house that
3 contains regulated asbestos. We are doing
4 just the opposite.

5 We simply want to know what it is like
6 to burn a house that we think contains no
7 asbestos, very little or none. And so
8 we're specifically looking for a house
9 that does not contain asbestos. There is
10 no dispute about some of the houses that
11 contain asbestos.

12 We know that there are many houses in
13 the Parish that contain asbestos. That's
14 not -- that is an important issue, but
15 that's not the issue that involves this
16 test.

17 **MR. ROGER WILMOTH, EPA:**

18 And to go back and answer your
19 question, I think, yes, it is possible to
20 actually redact the information that
21 identifies the house. (Inaudible.)

22 **MS. NANCY JONES, EPA:**

23 Right. And when I get back to Dallas
24 I can work with our office on getting that
25 redacted.

1 **MR. ROGER WILMOTH, EPA:**

2 Yes.

3 **MR. SAM COLEMAN, EPA:**

4 I am a little bit more cautious
5 because I have to release it. So I have
6 to make sure that I actually can. So I am
7 not going tell you that I can release
8 something until I know I can. And I know
9 that there is a process in which we have
10 to do that.

11 **MR. ROGER WILMOTH, EPA:**

12 But it is likely.

13 **MR. SAM COLEMAN, EPA:**

14 Yes. Another question? Yes, ma'am?

15 **LINDA SWANNER:**

16 One of questions was, why not test it
17 in a deserted area? This is not a
18 deserted area where you are planning on
19 testing.

20 It looks like it is. But as a
21 resident of the Parish for ten years, we
22 have lived on Urquhart Street which is
23 only two blocks from Judge Perez. Are
24 you-all familiar with where Judge Perez
25 is?

1 **MR. SAM COLEMAN, EPA:**

2 Uh-huh.

3 **LINDA SWANNER:**

4 It is quite a ways from the dump area.
5 And for years we had problems with the
6 fires underneath the dump with the
7 garbage. And people with allergies and
8 different things suffered because that
9 wind blew it that way.

10 So even though you're saying it's
11 deserted and it's not going to affect
12 residential, in fact, it will if it is
13 damaging because the wind will carry it
14 that far. And even more so now because
15 there is less to obstruct the wind from
16 reaching that area depending on which way
17 the wind goes. That is a very big concern
18 for me.

19 **MR. SAM COLEMAN, EPA:**

20 Well, let me just say one thing on
21 that and I'll ask Nancy to weigh in, and
22 maybe we can really study the map over
23 here and you'll get a better sense as to
24 how this works. First, I don't know that
25 we intended to conduct the test in a

1 deserted area simply because the logistics
2 required to conduct the test is not
3 conducive to be done in a deserted area.

4 **LINDA SWANNER:**

5 I meant non-residential.

6 **MR. SAM COLEMAN, EPA:**

7 Right. So what we try to find is an
8 area that has certain characteristics.
9 One, you have to have relatively
10 controlled access.

11 Second, you have to have an area that
12 you can actually monitor wind direction
13 and have some sense of where things are
14 going so that you actually have a place
15 where the test can be conducted.

16 Third, you have to have something that
17 you have some control over so that you
18 actually can deal with the houses or the
19 vegetative material that you want to burn.

20 You can stage it, you know where it's
21 going to be so when you start it up, you
22 can bring it directly in and then you can
23 take the ash and take it back. And that
24 all that can be done in a location that it
25 can be all be managed and controlled.

1 There are lots of different factors.

2 Part of what we are doing is -- you
3 heard us talk about the rings of monitors
4 and the monitors that are on the unit
5 itself.

6 The goal is that for us, we will be
7 able to determine both wind direction and
8 if there are, in fact, any type of
9 emissions, particulates, gases, or other
10 things that are going to proceed on site,
11 that information is going to be known
12 during the test.

13 And our commitment and what we do
14 during the test is we don't continue the
15 test once we see the wind direction is not
16 blowing in a favorable manner.

17 **LINDA SWANNER:**

18 Define favorable for me.

19 **MR. SAM COLEMAN, EPA:**

20 That means blowing towards the
21 population.

22 **LINDA SWANNER:**

23 Okay. So favorable is blowing toward
24 the population?

25 **MR. SAM COLEMAN, EPA:**

1 No.

2 **MR. ROGER WILMOTH, EPA:**

3 That's what you don't want to do.

4 **MR. SAM COLEMAN, EPA:**

5 That's what we don't want to do.

6 **LINDA SWANNER:**

7 Exactly.

8 **MR. ROGER WILMOTH, EPA:**

9 That's what we don't want to do.

10 **MR. SAM COLEMAN, EPA:**

11 Yes. So if you look at the map
12 actually --

13 **MS. NANCY JONES, EPA:**

14 And there are copies of the map in the
15 folders.

16 **LINDA SWANNER:**

17 Yes. I saw it. I glanced at it.
18 Thank you.

19 **MR. SAM COLEMAN, EPA:**

20 We have a map, test location here
21 (indicating).

22 **LINDA SWANNER:**

23 Uh-huh.

24 **MR. SAM COLEMAN, EPA:**

25 We see the populated areas. And as we

1 study the time of the year, prevailing
2 winds, etc., then this is what we are
3 looking for is the wind blowing in this
4 direction (indicating).

5 **LINDA SWANNER:**

6 So blowing out toward the swamp?

7 **MR. ROGER WILMOTH, EPA:**

8 Right.

9 **MR. SAM COLEMAN, EPA:**

10 Yes.

11 **MR. ROGER WILMOTH, EPA:**

12 That's right.

13 **LINDA SWANNER:**

14 Okay. So then I have another concern.
15 If there are toxic things that are going
16 to be in the air that will fall into the
17 water, which is a natural resource, which
18 I believe affects Bayou Bienvenue which is
19 a useable resource by the public. That is
20 a concern to me as well.

21 **MR. SAM COLEMAN, EPA:**

22 Fair point. And obviously everything
23 is based on worst-case scenario if there
24 are toxic compounds.

25 Our issue is we're going to conduct a

1 test starting with the assumption that we
2 monitor for those compounds and when the
3 conditions either the combustion or other
4 things are not favorable which we're going
5 to know because we're doing monitoring,
6 then that's not a favorable test.

7 It is not our idea to burn whatever we
8 find, collect a lot of data that says this
9 is really ugly, and therefore it can't
10 proceed. That's not good for us. It's
11 not good for anybody. And that's not
12 really -- that doesn't serve any purpose.

13 The only thing that serves a purpose
14 for us is that as we test this we find
15 that there are favorable conditions for
16 both conducting the test and we are
17 getting data to show specifically what is
18 being emitted. But if it is being emitted
19 at levels that are harmful, then that's
20 not good for anybody and the test is not
21 going to continue.

22 **LACY SMITH:**

23 From what I understand, I thought
24 these monitors aren't real time monitors.
25 And so it's going to be --

1 **MR. ROGER WILMOTH, EPA:**

2 Those actually weren't the ones that
3 dealt this with this asbestos.

4 **LACY SMITH:**

5 Okay. So there are other --

6 **MR. ROGER WILMOTH, EPA:**

7 There is no real time monitor for
8 asbestos.

9 **LACY SMITH:**

10 Okay. But so for other toxic --

11 **MR. ROGER WILMOTH, EPA:**

12 Yes.

13 **LACY SMITH:**

14 -- chemicals?

15 **MR. ROGER WILMOTH, EPA:**

16 Right.

17 **LINDA SWANNER:**

18 Okay. So I have another question
19 regarding that, if I heard correctly, the
20 way you figure whether it's harmful or
21 not, if it has harmful materials in it,
22 you rely on EEG Company and the Parish
23 demolition.

24 **MR. SAM COLEMAN, EPA:**

25 No.

1 **LINDA SWANNER:**

2 No, okay. That's what I wanted to
3 see. Who do you rely on for your --

4 **MR. SAM COLEMAN, EPA:**

5 Maybe -- maybe -- I am not sure. Fran
6 can explain the monitoring and what we're
7 looking for.

8 **MS. NANCY JONES, EPA:**

9 No. She was talking about --

10 **LINDA SWANNER:**

11 I am talking about how did you
12 determine what -- the samples, whether
13 they were okay to burn or not. And I
14 thought that it was EEG --

15 **MR. ROGER WILMOTH, EPA:**

16 Well, they actually went in --

17 **LINDA SWANNER:**

18 -- EEG and the Parish demolition and
19 you used those two things. Okay. The
20 Parish demolition as a resident, I don't
21 really trust. I am not trying to just
22 really throw things at them. But I really
23 want to know. I mean, as a resident we
24 have a vested interest in it.

25 **MS. NANCY JONES, EPA:**

1 The only reason why I mentioned that
2 is we wanted to compare our results to
3 theirs to make sure we both agreed that it
4 was a C&D house.

5 **MR. SAM COLEMAN, EPA:**

6 Well, let her --

7 **MS. NANCY JONES, EPA:**

8 So it's primarily our own results.

9 **MR. SAM COLEMAN, EPA:**

10 Let her finish her question. I want
11 to hear the whole question because I'm not
12 sure what your question is.

13 **LINDA SWANNER:**

14 Okay. No -- I was just -- I wanted to
15 see what you used as your criteria for
16 burning, and you said you depended on EEG
17 and the Parish demolition.

18 **MR. SAM COLEMAN, EPA:**

19 Okay. Now, let me just clarify what
20 you're saying --

21 **LINDA SWANNER:**

22 Okay.

23 **MR. SAM COLEMAN, EPA:**

24 -- to make sure we answer exactly what
25 you're looking for because the criteria

1 for burning in and of itself is based on a
2 lack of asbestos in the house. So what
3 you're really asking us is how do we
4 determine if there was this minute amount
5 of asbestos in the house. I want to make
6 sure that we're talking about the same
7 thing.

8 **LINDA SWANNER:**

9 Right. And who determines? Is it
10 just you or are you actually using your
11 own people to test it and see or are you
12 just depending on EEG and the Parish
13 demolition?

14 **MR. SAM COLEMAN, EPA:**

15 Okay. I think that's clear. All
16 right. Roger --

17 **MR. ROGER WILMOTH, EPA:**

18 Okay. The results are the ones, you
19 know -- the contractor, you know, EEG that
20 went into this house and a number of other
21 houses that were on the -- that were going
22 to be demolished. And they actually
23 analyzed the materials out of the walls,
24 out of the floors that were likely to be
25 asbestos containing. And that analysis

1 then gives us the confidence of whether or
2 not those are asbestos containing
3 materials. And there were a number of,
4 you know -- after your comment -- there
5 are a number of houses that had asbestos.

6 This house did not have the asbestos,
7 you know, in any regulated amounts. And
8 the only positive asbestos was, in fact,
9 in the joint compounds but that was the
10 concentration of that was, in fact, less
11 than the actual regulated threshold which
12 is 1 percent.

13 So the analysis came back on just the
14 joint compound, as I understand it, Nancy,
15 that it was just trace amounts. Which,
16 basically, means it was probably well
17 below 1 percent. So it's not regulated.
18 But there was, in fact, a minute amount of
19 asbestos that was, in fact, found.

20 **MS. NANCY JONES, EPA:**

21 And I wanted to clarify that EEG is an
22 EPA contractor.

23 **LINDA SWANNER:**

24 It's an EPA contractor --

25 **MR. ROGER WILMOTH, EPA:**

1 Right.

2 **LINDA SWANNER:**

3 -- that you use regularly?

4 **MR. ROGER WILMOTH, EPA:**

5 Yes.

6 **LEO DEMARIS:**

7 Is there a contractor, a particular
8 contractor that handles the burning that
9 you guys at the EPA are doing? Who is
10 doing the testing itself when it happens?

11 **MS. FRAN KREMER, EPA:**

12 We have our own combustion engineers
13 now with Research and Development who have
14 developed the statistical design and
15 sampling and monitoring strategy for that.
16 But we also wanted to emulate real
17 conditions so that we are working with a
18 company who has one of the air curtain
19 destructors and using that in particular
20 to conduct the actual work.

21 **LEO DEMARIS:**

22 And the name of that company?

23 **MS. FRAN KREMER, EPA:**

24 Air Burners.

25 **LEO DEMARIS:**

1 Air Burners?

2 **MS. FRAN KREMER, EPA:**

3 Yes.

4 **LINDA SWANNER:**

5 I have another question. Let me get
6 back to it. Let me see. (Viewing
7 documents.) There are not other
8 technologies available currently to deal
9 with C&D besides this burn curtain
10 destructor?

11 **MR. SAM COLEMAN, EPA:**

12 Well, there are lots of technologies.

13 **LINDA SWANNER:**

14 That are not harmful to human
15 population?

16 **MR. SAM COLEMAN, EPA:**

17 Well, we don't think this one is
18 necessarily harmful to population either.
19 But you will see some of the C&D waste
20 being grinded with the big -- there are
21 several different types of grinders. The
22 annihilator --

23 **MS. NANCY JONES, EPA:**

24 In fact, there is --

25 **MR. SAM COLEMAN, EPA:**

1 There is a grinder right out there at
2 Parish Road.

3 **MS. NANCY JONES, EPA:**

4 Yes, exactly. And we did extensive
5 air monitoring of that activity, and
6 that's why we didn't feel like that
7 activity for C&D material needed to be
8 part of our test because we already have a
9 lot of data on it.

10 This -- we're not advocating this
11 technology. We are not saying that there
12 is not other technology out there.

13 This is just a particular type of
14 technology that we do not have data on
15 that we thought needed to be evaluated.

16 **LINDA SWANNER:**

17 Okay. This is probably my last
18 question.

19 **MR. ROGER WILMOTH, EPA:**

20 We've got plenty of time.

21 **LINDA SWANNER:**

22 Given that you are going to go ahead
23 with the vegetative burning of C&D, do you
24 anticipate the ability to test for
25 asbestos here at this location?

1 **MR. SAM COLEMAN, EPA:**

2 Okay. Again, I need to clarify what
3 that means.

4 **LINDA SWANNER:**

5 Does that mean, do you plan on trying
6 to test for asbestos --

7 **MS. NANCY JONES, EPA:**

8 Regulated asbestos containing
9 material?

10 **LINDA SWANNER:**

11 -- at this location?

12 **MR. SAM COLEMAN, EPA:**

13 Do you mean during our testing?

14 **LINDA SWANNER:**

15 No, not during this test that you have
16 scheduled for the 23rd and the 24th.

17 **MR. SAM COLEMAN, EPA:**

18 Do you mean at some point --

19 **LINDA SWANNER:**

20 In the future, in the near future --

21 **MR. ROGER WILMOTH, EPA:**

22 Later on.

23 **LINDA SWANNER:**

24 -- while this air curtain destructor
25 is here.

1 **MR. ROGER WILMOTH, EPA:**

2 What you're asking is later on?

3 **LINDA SWANNER:**

4 Right.

5 **MR. SAM COLEMAN, EPA:**

6 So in the foreseeable future?

7 **LINDA SWANNER:**

8 Correct.

9 **MR. SAM COLEMAN, EPA:**

10 I would say it is not likely because
11 there are a couple of reasons. Reason
12 number one is the process and the progress
13 of demolition within the parish. Most of
14 the houses that we may have wanted to test
15 are going to be done. So you really
16 cannot operate the test if you don't have
17 a house to test.

18 And secondly, I think, we -- it's
19 going to take some time to evaluate all of
20 this data. And we just need to figure out
21 where we go after we get the data in hand
22 and know exactly what we're going to do
23 next.

24 **LINDA SWANNER:**

25 Thank you.

1 **LEO DEMARIS:**

2 The data on the C&D material that is
3 being chipped up, is that available, the
4 monitoring that is being done on what is
5 being chipped at the site now on the C&D?
6 Is that --

7 **MS. NANCY JONES, EPA:**

8 It can be made available.

9 **LEO DEMARIS:**

10 And what do I have to do to get access
11 to that?

12 **MS. NANCY JONES, EPA:**

13 Contact me after this.

14 **LEO DEMARIS:**

15 Okay.

16 **MS. NANCY JONES, EPA:**

17 I will exchange my contact
18 information.

19 **LEO DEMARIS:**

20 All right. And guaranteed the last
21 question that I'm going to ask you.

22 **MR. SAM COLEMAN, EPA:**

23 I noticed you said ask her.

24 **LEO DEMARIS:**

25 I always reserve my right to ask

1 another question. You said on the 24th
2 you're to do the vegetative thing and then
3 shortly thereafter that house, that C&D
4 test will happen, do you anticipate like
5 the 25th or the 26th, or do you know?

6 **MS. NANCY JONES, EPA:**

7 We are anticipating the vegetative
8 test will take two days, so the 24th and
9 the 25th and the C&D the next probably two
10 days.

11 **LEO DEMARIS:**

12 Could we, through Lawanda Thomas or
13 somebody, get some more specific
14 information regarding that?

15 **MS. NANCY JONES, EPA:**

16 Yes. We will work with you and make
17 that available. If you wanted to come and
18 observe, we will have a visitor area like
19 we had planned previously for you to come
20 and observe. And I take it you are more
21 interested in the C&D burn than the
22 vegetative burn.

23 **LEO DEMARIS:**

24 Sure.

25 **MS. NANCY JONES, EPA:**

1 Okay. I'll make sure that Lawanda
2 gets with you specifically on that.

3 **LEO DEMARIS:**

4 Okay. Great. Thank you.

5 **MS. NANCY JONES, EPA:**

6 And anybody else who has an interest,
7 you know, please, let me know and I can
8 make sure that information gets to you on
9 when we are starting specifically. You
10 are welcome to be there. Again, we will
11 have to restrict you to the visitor area
12 because we will have the monitors all set
13 up and everything.

14 **MR. SAM COLEMAN, EPA:**

15 Now, let me ask a question. Do you
16 know if the tower camera is going to be
17 available on the 23rd? Have you-all
18 decided or are you still negotiating?

19 **MS. NANCY JONES, EPA:**

20 Well, I'll find out -- well, no, it
21 would have been available but the local
22 command post went to (inaudible) -- so I
23 just don't know whether it will be back in
24 time.

25 **MR. SAM COLEMAN, EPA:**

1 When are we getting the other one back
2 from the shop?

3 **MS. NANCY JONES, EPA:**

4 I don't know. I will have to find
5 out.

6 **MR. SAM COLEMAN, EPA:**

7 Okay. The reason I ask that question,
8 even though the safe observation distance
9 is -- I don't know how many feet.

10 **MS. NANCY JONES, EPA:**

11 Like a football field.

12 **MR. ROGER WILMOTH, EPA:**

13 Yes, close to 300.

14 **MR. SAM COLEMAN, EPA:**

15 Okay. 300 or 400 feet away. Our plan
16 actually was to bring -- we have a command
17 post with a tower camera that has a high
18 resolution zoom so we would have been able
19 to essentially bring the camera up close
20 and personal so you would be able to see
21 it on a video monitor up close. But that
22 was like everything else, everything has a
23 schedule.

24 **MS. NANCY JONES, EPA:**

25 Well, that was actually an emergency

1 response that happened.

2 **MR. SAM COLEMAN, EPA:**

3 Yeah.

4 **MS. NANCY JONES, EPA:**

5 And so -- the command post was needed
6 at the emergency response.

7 **MR. SAM COLEMAN, EPA:**

8 And I'm not sure if we're going to be
9 able to get that. We'll get it if we can,
10 and if we can't then it's because it is
11 being used somewhere else. But if it's
12 available then it will be here. So folks
13 will be able to see fairly close -- I am
14 not sure how big a monitor we are going to
15 get.

16 We've got to get something larger than
17 9 inches. But it is taxpayer money so we
18 are going to be conservative. We'll have
19 something. I won't guarantee how big it
20 is going to be but it will be able to be
21 seen.

22 **MS. NANCY JONES, EPA:**

23 Well, we hope to, again, unless the
24 mobile command posts are not all out on
25 responses.

1 **MR. SAM COLEMAN, EPA:**

2 Yeah, yeah, if it's not available,
3 it's not available.

4 **MR. ROGER WILMOTH, EPA:**

5 We can always bring the one from your
6 house, the flat screen you have there.

7 **MR. SAM COLEMAN, EPA:**

8 I'll keep that one. Was there any
9 other questions? One gentleman came in a
10 little bit late.

11 **MIKE SWANNER:**

12 I was a little late. (Inaudible.)

13 **MR. SAM COLEMAN, EPA:**

14 Okay. You have to come up closer.

15 **MIKE SWANNER:**

16 Okay. All right.

17 **THE COURT REPORTER:**

18 I've got to have you closer.

19 **MIKE SWANNER:**

20 The monitoring after you get finished
21 burning, when you-all are doing your
22 monitoring -- I saw the map. I guess
23 you're going to have monitors within that
24 area. In the residential areas or
25 elsewhere are you going to have air

1 sampling monitors for the asbestos after
2 the burn?

3 **LINDA SWANNER:**

4 They're not going to burn asbestos
5 just vegetative.

6 **MIKE SWANNER:**

7 Well, they said they had asbestos in
8 the drywall compound. There's asbestos.
9 I have done asbestos abatement. I have
10 worked on them. I know that they monitor
11 the systems.

12 And you know after they've done the
13 abatement and stuff, they monitor it
14 before, after -- I mean, during and after
15 for a period of time.

16 After the burn, will there be
17 monitoring for air samplings to see if
18 there is anything that got up there and is
19 coming down.

20 **MR. ROGER WILMOTH, EPA:**

21 We've only -- in fact, we're only
22 going to monitor -- well, okay, we've
23 already done the monitoring prior.

24 **MIKE SWANNER:**

25 Right.

1 **MR. ROGER WILMOTH, EPA:**

2 So that's already done.

3 **MIKE SWANNER:**

4 Right.

5 **MR. ROGER WILMOTH, EPA:**

6 So we know what the baseline is. We
7 are going to do a baseline monitoring
8 during the burn and that's going to be at
9 a location that's not impacted by the burn
10 which is going to be upwind wind
11 situation.

12 And I don't know exactly where that is
13 yet, but we're going to pick one that is
14 upwind and that will be the background
15 level. Those will be done at the time of
16 the burns.

17 Therefore, you can compare the results
18 of the perimeter monitoring with the
19 results in the background to find out if
20 there is an evaluation. But as far as
21 like a day later or something like that,
22 no.

23 **MIKE SWANNER:**

24 Well, like I said --

25 **MR. SAM COLEMAN, EPA:**

1 Let me ask this question because --
2 all right, I think I understand your
3 question. I am going to ask it a
4 different way. Relative to as the burning
5 takes place, how long after the fire is
6 extinguished are we going to monitor it?
7 That's really your question.

8 **MIKE SWANNER:**

9 Right. How long --

10 **MR. SAM COLEMAN, EPA:**

11 Is it one hour --

12 **MIKE SWANNER:**

13 I mean, you (inaudible) --

14 **MR. SAM COLEMAN, EPA:**

15 -- or one minute?

16 **MIKE SWANNER:**

17 If any gets out, it can be up there
18 swirling around and one day it decides to
19 come down.

20 **MR. SAM COLEMAN, EPA:**

21 Is it going to be one hour or one
22 minute?

23 **MR. ROGER WILMOTH, EPA:**

24 It's typically the time it takes us to
25 make the round after the burn is over. So

1 once it is determined that there is no
2 more asbestos containing material or
3 whatever --

4 **MR. SAM COLEMAN, EPA:**

5 Nothing is being burned.

6 **MR. ROGER WILMOTH, EPA:**

7 That, in fact, nothing is being
8 burned. Then we'll discontinue the
9 monitoring, but that process to go around
10 and take all those filters off, as you
11 well know, takes a while.

12 **MIKE SWANNER:**

13 Yeah, takes a while.

14 **MR. ROGER WILMOTH, EPA:**

15 Because you have to make the
16 measurements.

17 **MIKE SWANNER:**

18 Right.

19 **MR. ROGER WILMOTH, EPA:**

20 You know, the --

21 **MIKE SWANNER:**

22 What I am saying is there won't be a
23 measuring system, just one or two left
24 spot distances just as in case to see if
25 anything comes down. So it's possible --

1 because like I said, I've worked with
2 systems where -- asbestos where we are in
3 totally contained systems where we're
4 doing things with asbestos, totally
5 contained, where we are doing all the
6 procedures as bagged, tagged, and all that
7 good stuff. And for several days
8 afterward, it was monitored.

9 **MR. SAM COLEMAN, EPA:**

10 That's with regulated asbestos.

11 **MIKE SWANNER:**

12 Well, I am talking about minute
13 amounts. Okay. We're not talking about
14 taking off where it's asbestos insulation
15 -- I am talking about minute amounts.

16 **MR. ROGER WILMOTH, EPA:**

17 What you probably have is that that is
18 an active landfill site.

19 **MIKE SWANNER:**

20 Sure.

21 **MR. ROGER WILMOTH, EPA:**

22 And if you did monitor the next day
23 and you did -- you did find levels of
24 asbestos, you don't know where they came
25 from.

1 **MIKE SWANNER:**

2 This is true. But if you have been at
3 baseline already, you know what is --

4 **MR. ROGER WILMOTH, EPA:**

5 (Inaudible.)

6 **MIKE SWANNER:**

7 (Inaudible.)

8 **MR. ROGER WILMOTH, EPA:**

9 (Inaudible.)

10 **MIKE SWANNER:**

11 But if you get --

12 **MR. ROGER WILMOTH, EPA:**

13 But if we know what it was on the
14 following day --

15 **MIKE SWANNER:**

16 But if you get an elevated (inaudible)
17 -- and they're monitoring and I'm assuming
18 when they're doing their work with this
19 crushing stuff, they're monitoring that.
20 You are going to know if you get a spike
21 but they are supposedly monitoring the
22 stuff they are doing now, aren't they?

23 **MR. ROGER WILMOTH, EPA:**

24 Of the --

25 **MIKE SWANNER:**

1 That crushing thing. Whatever you are
2 talking about. They are supposed to be
3 monitoring that; right?

4 **MS. NANCY JONES, EPA:**

5 Well, we don't require that they
6 monitor it, but I feel (inaudible) --

7 **MR. ROGER WILMOTH, EPA:**

8 No. It's not currently regulated.

9 **MS. NANCY JONES, EPA:**

10 I mean, I know that when we monitored
11 the grinder activity for some time --

12 **MIKE SWANNER:**

13 Right.

14 **MS. NANCY JONES, EPA:**

15 -- and I know that they continued to
16 monitor after we did.

17 **MIKE SWANNER:**

18 Uh-huh.

19 **MS. NANCY JONES, EPA:**

20 But I never asked them to continue to
21 do it.

22 **MR. SAM COLEMAN, EPA:**

23 That's my question. Do we know
24 actually if the Parish is actually
25 monitoring on a daily basis now?

1 **MS. NANCY JONES, EPA:**

2 I don't know that answer to that right
3 now.

4 **MR. SAM COLEMAN, EPA:**

5 All right. I am going to ask my
6 question again because we may not -- we
7 may not actually know the specific answer,
8 but what I'm understanding -- you're
9 asking -- is this -- is the monitoring
10 going to take place for a day or two after
11 the burning stops?

12 **MIKE SWANNER:**

13 Right, right. Because --

14 **MR. ROGER WILMOTH, EPA:**

15 The answer to this is no.

16 **MIKE SWANNER:**

17 No.

18 **MR. SAM COLEMAN, EPA:**

19 But is it going to take place an hour
20 after the burning stops?

21 **MR. ROGER WILMOTH, EPA:**

22 Typically, yes, because that's about
23 how long it takes to make the rounds, you
24 know, to be able to take all those filters
25 off and make all the flow measurements,

1 log them into your log, log them into your
2 chain of custody. So it will be about an
3 hour later by the time all the monitors
4 are off.

5 **LINDA SWANNER:**

6 Well, then that seems like it is not a
7 complete test because you're picking up
8 and leaving before you know the final
9 results of it. If there is asbestos in
10 the air that going to affect the area,
11 shouldn't you know that?

12 **MR. SAM COLEMAN, EPA:**

13 Right.

14 **LINDA SWANNER:**

15 I mean, isn't that the point of having
16 the test?

17 **MR. SAM COLEMAN, EPA:**

18 I know, but, again, we are making an
19 assumption that I am not sure is a correct
20 assumption. Maybe Roger can really talk
21 about how the particles, if there is a
22 particle or fiber, how long is it going to
23 be suspended in the air?

24 **MR. ROGER WILMOTH, EPA:**

25 Well, if they're little fibers -- if

1 they're very, very little fibers, it will
2 be a long while. But you know, the air is
3 not going to remain over there because
4 typically you have a -- basically, you
5 have a wind direction.

6 **MIKE SWANNER:**

7 Yeah. This area has some swirling
8 winds. It doesn't just, you know, blow
9 over this way. It will blow this way and
10 then come back the other way. It swirls.

11 We have some strange wind patterns
12 down here. And if you've been around here
13 long enough you can see -- you know, you
14 can see the weather go this way and just
15 turn around and come right back. And this
16 time of year it does that.

17 **MS. NANCY JONES, EPA:**

18 Roger, I think this is something that
19 we can take into consideration, because,
20 you know, we will still have our demob and
21 site restoration activities going on. So
22 I think this is an area that we could talk
23 about and take your comment into
24 consideration about continuing to do the
25 asbestos air monitoring.

1 **MIKE SWANNER:**

2 I am not really against this, okay.

3 **MS. NANCY JONES, EPA:**

4 Uh-huh.

5 **MIKE SWANNER:**

6 I think it needs to be done.

7 (Inaudible.) But I am also -- by taking
8 the asbestos abatement -- and minute
9 amounts can kill you, okay. That is what
10 is drummed into our heads big time. And
11 so it is just something that -- while it's
12 done --

13 **MS. NANCY JONES, EPA:**

14 Well, the reason why we wanted to have
15 this meeting is so that we can, you know,
16 listen to your questions and consider your
17 comments. So I think that is a valid
18 comment that we can take into
19 consideration and evaluate.

20 **MR. ROGER WILMOTH, EPA:**

21 Yes.

22 **MS. NANCY JONES, EPA:**

23 And we don't necessarily need to do a
24 full sweep for the next day or two but we
25 can look into --

1 **MIKE SWANNER:**

2 I am not talking about a full sweep.
3 I am just talking about one or two here
4 and there and just let them run.

5 **MS. NANCY JONES, EPA:**

6 Right, exactly.

7 **MR. ROGER WILMOTH, EPA:**

8 And we could do a couple upwind and a
9 couple, you know, straight downwind of the
10 location.

11 **MS. NANCY JONES, EPA:**

12 Uh-huh.

13 **MR. ROGER WILMOTH, EPA:**

14 That's probably not that scientific,
15 but it might be able to meet your needs.

16 **MIKE SWANNER:**

17 Well, it's not a controlled
18 environment so it's not going to be real
19 scientific, but if it's getting out it has
20 a good chance of picking it up.

21 **MR. ROGER WILMOTH, EPA:**

22 I would be willing to do that.

23 **MR. SAM COLEMAN, EPA:**

24 Let me just summarize, because I think
25 we should take it into consideration, but

1 I will tell you I will always have a
2 little bit of a problem about that we're
3 having something that is totally
4 scientific. So we may need to think about
5 what truly is a statistically valid
6 approach in collecting data. Because if
7 you collect data in a way that is not
8 valid, it actually has no meaning.

9 **MIKE SWANNER:**

10 Right.

11 **MR. SAM COLEMAN, EPA:**

12 It's a number or it's a statement.

13 **MIKE SWANNER:**

14 Well, I was thinking more of a
15 safety --

16 **MR. SAM COLEMAN, EPA:**

17 (Inaudible.)

18 **THE COURT REPORTER:**

19 One at a time.

20 **MIKE SWANNER:**

21 I'm sorry. I was thinking more of a
22 safety factor, it could get out and -- you
23 know, two days after the burn, it could be
24 up there. It may not be but it could be.

25 **MR. SAM COLEMAN, EPA:**

1 Right. I guess what I'm saying is
2 there is a way to collect data that is
3 going to be valid that actually is going
4 to tell you something.

5 **MIKE SWANNER:**

6 Sure.

7 **MR. SAM COLEMAN, EPA:**

8 And we need to figure exactly how to
9 do that because it is not in the plan
10 right now. The way we do sampling is we
11 have to have something called a quality
12 assurance --

13 **MR. ROGER WILMOTH, EPA:**

14 Plan, right.

15 **MR. SAM COLEMAN, EPA:**

16 -- tracking plan which defines exactly
17 what we're looking for, how we're going to
18 look for it, all of the methods, and all
19 of those things have to go through peer
20 review and they have to be analyzed. So
21 for us to say we can do something, we need
22 to think about how we do it.

23 **MIKE SWANNER:**

24 Well, you know, I kind of -- I see
25 what you're saying, but in the same token,

1 I live here, too, you know. And I know --

2 **MR. ROGER WILMOTH, EPA:**

3 We will consider that.

4 **MIKE SWANNER:**

5 I know the hoops EPA made us jump
6 through. So I think it's just fair to
7 make you jump through the same hoops.

8 **LINDA SWANNER:**

9 Well, not only that, I appreciate you
10 saying you will consider it.

11 **MR. ROGER WILMOTH, EPA:**

12 Yes.

13 **LINDA SWANNER:**

14 But "you will consider it," doesn't
15 give me any confidence. EPA is an
16 organization that is supposed to be
17 responsible for protecting the public, if
18 I understand it correctly.

19 And I understand that you're trying to
20 gather scientific data, but as a vested
21 resident and someone who worries about my
22 health and the health of the people who
23 live around here, I really don't care
24 about your statistics toward the end.

25 I think that it should be measured in

1 all aspects so that we feel safe.

2 **MR. SAM COLEMAN, EPA:**

3 Well, let me just make sure you
4 understand what I am saying. If I collect
5 data that is truly not valid, then there
6 are three things that are likely to
7 happen.

8 Thing number one -- I am going to tell
9 you something that is not likely to be
10 true. It can't be verified. So if I say
11 there is no asbestos, there is no way for
12 you to know that is accurate. If I say
13 there is, there is no way for you to know
14 that is accurate.

15 So it really doesn't do me any good to
16 say I am protecting you just to collect a
17 sample and then say here's the result if
18 it is not valid.

19 The second thing, that information can
20 very critically cause other decisions to
21 be made that are bad decisions. So we are
22 very concerned about that, and we're not
23 -- and they are decisions that you have to
24 make. So our issue is we want to give you
25 good information that is verifiable, that

1 is true and accurate.

2 I mean, that is very important. It is
3 important to you and it's important to us.
4 And the final thing is, it really damages
5 everyone's credibility that is involved.
6 So you really have no credibility in the
7 entire process.

8 So what I am saying is -- and we have
9 the scientists here and they do this
10 everyday for a living, we will consider
11 it, is probably as good an answer as you
12 could get from us.

13 **LINDA SWANNER:**

14 Right. I understand that.

15 **MR. SAM COLEMAN, EPA:**

16 So --

17 **LINDA SWANNER:**

18 And I understand that you're
19 scientists and you know a lot, but you're
20 not residents. You are not going to deal
21 with the effects of this. So we want to
22 be assured that it is safe. Whether it
23 goes into your statistics or not, I want
24 to know.

25 **MR. SAM COLEMAN, EPA:**

1 That is exactly right.

2 **MS. NANCY JONES, EPA:**

3 Sam is being very cautious so that
4 we're not promising something, but we will
5 seriously look at it and make sure before
6 we make a decision to implement it that it
7 is something that we think that will be
8 valuable data. And I think actually there
9 is a chance it will be.

10 I think that we can, you know,
11 evaluate it and think carefully about
12 where we are going to place -- which
13 monitors we would do this, you know, kind
14 of post-test data collection in a way that
15 we can do it.

16 And so it's just something that we
17 haven't thought of it, but I think it is
18 actually a really good suggestion. And I
19 think it is something that we can probably
20 work into our plan.

21 It's just that right now we need to
22 evaluate it and make sure that we do it in
23 the right way so we are collecting good
24 data is all that Sam means.

25 **MR. SAM COLEMAN, EPA:**

1 Yes.

2 **MS. NANCY JONES, EPA:**

3 Just know that we will seriously -- if
4 there is anyway possibly to implement it,
5 we will.

6 **MR. ROGER WILMOTH, EPA:**

7 Okay. Let me make one more point that
8 is going to re-enforce what you're
9 concerned with, is that we are going to
10 monitor all the workers that are involved
11 in there. So there will be continual
12 monitors on the workers.

13 And if there is any -- those
14 individuals are the ones that are the
15 closest to the actual operations. So if
16 there is a release, they are the ones that
17 their monitors are really going to be
18 getting it.

19 **LINDA SWANNER:**

20 Right. I understand that part, but
21 I'm talking about -- that doesn't help me
22 with after it's finished because they're
23 not going to be there, and that's my
24 concern. And then I really --

25 **MS. NANCY JONES, EPA:**

1 And since we're still going to there
2 demobbing, you know, the rest of the
3 equipment and doing site restoration. It
4 wouldn't really be that much effort to do
5 some additional monitoring during --

6 **MR. SAM COLEMAN, EPA:**

7 Yes. But, Nancy, I think the
8 important thing is, my point is exactly
9 your point.

10 **LINDA SWANNER:**

11 That being --

12 **MR. SAM COLEMAN, EPA:**

13 I'm not going to -- you have to have
14 good data, accurate, and it has to have --
15 it has to tell it proper, accurate, and
16 truthfully.

17 **LINDA SWANNER:**

18 That was your point though. That
19 wasn't mine. Mine was safety.

20 **MR. SAM COLEMAN, EPA:**

21 That's the only way you're going to
22 guarantee safety.

23 **LINDA SWANNER:**

24 Your point is the data. Okay. Right.
25 So mine is what happens after -- what

1 happens when you shut down? And I want to
2 be taken seriously for that point. And I
3 would like you to get in touch with me to
4 let me know what the result is of my
5 request before the burn happens. I would
6 truly appreciate that.

7 **MS. NANCY JONES, EPA:**

8 Please provide your contact
9 information.

10 **LINDA SWANNER:**

11 I sure will.

12 **MS. NANCY JONES, EPA:**

13 Again, we will regroup and see what we
14 can implement and let you know.

15 **LINDA SWANNER:**

16 Great. Thank you.

17 **MR. ROGER WILMOTH, EPA:**

18 Yes. And I am the one that designs
19 the monitors.

20 **LINDA SWANNER:**

21 Okay.

22 **MR. SAM COLEMAN, EPA:**

23 Okay.

24 **LACY SMITH:**

25 I think (inaudible). Sorry. But you

1 had mentioned -- Lacy Smith here. You had
2 mentioned that you-all had been testing
3 the grinder that is on the Parish Road
4 landfill site.

5 Does that mean that the total grinder
6 portion of this test is also cut?

7 **MS. NANCY JONES, EPA:**

8 That is correct.

9 **LACY SMITH:**

10 Okay.

11 **MS. NANCY JONES, EPA:**

12 There will be no grind portion of this
13 test. And previously when we were
14 monitoring the grinder -- we are not
15 continuing to monitor it.

16 It wasn't part of the test. It was a
17 part of, again, the Katrina Recovery
18 Response.

19 You know, the Parish announced that
20 they were going to be grinding C&D,
21 construction and demolition material and
22 so we spoke with them and got permission
23 to monitor because we thought, one, we
24 could collect the data on it; and, two,
25 make sure that was being conducted in a

1 safe manner.

2 And we also did the same type of
3 monitoring in Plaquemines Parish where
4 they also ground construction and
5 demolition material, and so we have a lot
6 of data on that as well.

7 **LACY SMITH:**

8 Okay. And then are the project plans
9 going to be updated now to reflect the
10 changes?

11 **MR. ROGER WILMOTH, EPA:**

12 Oh, yes.

13 **MR. SAM COLEMAN, EPA:**

14 Yes.

15 **MR. ROGER WILMOTH, EPA:**

16 Which is a major job by the way.

17 **LACY SMITH:**

18 I can imagine. (Inaudible.)

19 **MR. ROGER WILMOTH, EPA:**

20 Yeah.

21 **LACY SMITH:**

22 And they will be posted online?

23 **MR. ROGER WILMOTH, EPA:**

24 On the web, yes.

25 **MR. SAM COLEMAN, EPA:**

1 Do you know about when?

2 **MR. ROGER WILMOTH, EPA:**

3 Well, Dave Ferguson called earlier,
4 you know, as we were coming out here.

5 **MR. SAM COLEMAN, EPA:**

6 Yeah.

7 **MR. ROGER WILMOTH, EPA:**

8 So he is going to be starting on it
9 tomorrow. You know, to redo those is not
10 going to be as big of a job as one might
11 would imagine because -- they are
12 basically monitoring that we were going to
13 do -- if, in fact, we would have burned
14 RACM houses is now going to be monitoring
15 what we were going to do on the scene of
16 the houses. So all we need to do is kind
17 of move all that area (inaudible) --

18 **LACY SMITH:**

19 Okay.

20 **MR. ROGER WILMOTH, EPA:**

21 But that takes time to do that and get
22 it all cross checked.

23 **LACY SMITH:**

24 And those are going to be available
25 before --

1 **MR. ROGER WILMOTH, EPA:**

2 Before the tests.

3 **MR. SAM COLEMAN, EPA:**

4 Well, it has to be before the tests.

5 **MR. ROGER WILMOTH, EPA:**

6 Yes, before the tests.

7 **MR. SAM COLEMAN, EPA:**

8 Yes. And that's why I asked, do you
9 know when because there is a timing issue.

10 **MR. ROGER WILMOTH, EPA:**

11 The test is going to be what, the
12 23rd?

13 **MS. NANCY JONES, EPA:**

14 We're hoping to start the 24th.

15 **MR. ROGER WILMOTH, EPA:**

16 This is what?

17 **MR. SAM COLEMAN, EPA:**

18 This is the 11th.

19 **MS. NANCY JONES, EPA:**

20 The 11th.

21 **MR. ROGER WILMOTH, EPA:**

22 The 11th?

23 **MR. SAM COLEMAN, EPA:**

24 Yes.

25 **MR. ROGER WILMOTH, EPA:**

1 What is going to be the end of next
2 week?

3 **LEO DEMARIS:**

4 The 19th is Thursday. The 20th is
5 Friday.

6 **MR. ROGER WILMOTH, EPA:**

7 It will be done by the end of next
8 week.

9 **LACY SMITH:**

10 Okay. And then are you going to allow
11 a comments period or even for this
12 meeting? I know that initially in the
13 announcement, I had heard that there was
14 going to be, like, a deadline for the
15 community just to make comments on paper.
16 Is that still applicable?

17 **MS. NANCY JONES, EPA:**

18 Well, we are actually hoping to get
19 those comments here so we can address
20 them.

21 **MR. SAM COLEMAN, EPA:**

22 Ma'am, if you would like to submit
23 comments, then they have to be, I think,
24 by next Monday.

25 **LACY SMITH:**

1 Okay.

2 **MR. SAM COLEMAN, EPA:**

3 That we would have to receive those.

4 **LACY SMITH:**

5 Okay. Just because I know a lot of
6 members of the community didn't learn
7 about this meeting until today. And
8 that --

9 **MR. SAM COLEMAN, EPA:**

10 We are going to have more meetings.

11 **MS. NANCY JONES, EPA:**

12 There's another meeting on Saturday
13 and then next --

14 **UNIDENTIFIED AUDIENCE SPEAKER:**

15 That's fine, but where is the public
16 notice for tonight's meeting and
17 Saturday's meeting.

18 **MS. NANCY JONES, EPA:**

19 It actually was in the paper this
20 morning for both meetings.

21 **UNIDENTIFIED AUDIENCE SPEAKER:**

22 So the notice was this morning for the
23 same day's evening meeting?

24 **MS. NANCY JONES, EPA:**

25 And it also announced the Saturday

1 meeting.

2 **UNIDENTIFIED AUDIENCE SPEAKER:**

3 That's fine.

4 **MS. NANCY JONES, EPA:**

5 There will be another --

6 **UNIDENTIFIED AUDIENCE SPEAKER:**

7 I am just making a point.

8 **MS. NANCY JONES, EPA:**

9 -- announcement coming out Friday for
10 the Saturday meeting.

11 **UNIDENTIFIED AUDIENCE SPEAKER:**

12 I mean, if someone was putting a
13 notice in the paper for something that was
14 important to you, and you are a busy
15 person, would you be able to read the
16 morning paper and make your plans for that
17 evening to attend that meeting.

18 **MR. SAM COLEMAN, EPA:**

19 Well, the plan that we have is to have
20 more than one meeting and to have folks
21 available to answer questions and make
22 presentations available, so people
23 actually have more than one opportunity.

24 **UNIDENTIFIED AUDIENCE SPEAKER:**

25 I am seeing they have one valid

1 opportunity on Saturday.

2 **MR. SAM COLEMAN, EPA:**

3 Okay. Do you have another question?

4 **LACY SMITH:**

5 Yes. Let me see --

6 **MR. ROGER WILMOTH, EPA:**

7 Seven pages of notes there.

8 **LACY SMITH:**

9 I guess along the same kind of notice
10 comment thing, when -- if and when you do
11 the RACM portion of this test, regardless
12 of whether it's here or not, is there
13 going to be an opportunity for notes and
14 comments to comment on those project plans
15 and even maybe a posting (inaudible) --
16 just so that nationwide -- I mean, the
17 implications of burning RACM are pretty --

18 **MR. SAM COLEMAN, EPA:**

19 I will ask Pam to address that.

20 **MS. PAM TRAVIS, EPA:**

21 I don't think that is something that
22 we have decided on it at this point.
23 There is some question about the extent of
24 public participation, you know, strictly
25 required under the statute.

1 We generally attempt, as an agency, to
2 try to go above and beyond the basics. So
3 I think that is going to be something that
4 if we get the opportunity to do the third
5 phase of the test, that we will be looking
6 at that, but that may very well be in
7 another time and place than where we are
8 today.

9 **LACY SMITH:**

10 Okay. I guess, with that being said,
11 that was kind of why -- something to go so
12 far as, like, a federal registry notice
13 where nationwide people may have comments
14 to make about this sort of test because
15 who knows when it's going to happen in
16 their neighborhood.

17 That is kind of why I think it would
18 be important to really let everyone that
19 could potentially be impacted and not just
20 the people that are next door or across
21 the street.

22 I mean, I know you-all don't have a
23 plan now, but I was just wondering if that
24 could be in perhaps consideration.

25 **MR. SAM COLEMAN, EPA:**

1 I think she wanted you to say
2 something, Pam.

3 **MR. ROGER WILMOTH, EPA:**

4 Yeah.

5 **MS. NANCY JONES, EPA:**

6 Another question?

7 **LACY SMITH:**

8 Yes. For this particular C&D burn,
9 how many operators are there going to be
10 operating the burn, because I know --
11 sorry, Sam said -- you had said that you
12 are trying to replicate conditions that
13 may occur in real life application, and on
14 this little pamphlet that the Burner
15 people provided, it says, you know, one
16 person can operate a burner or even two.

17 And to me, I would -- well, either, A,
18 want more people or at least want this
19 test to reflect what might be a
20 (inaudible) -- if the company is saying
21 one person can (inaudible) -- is that what
22 is going to happen here?

23 So that if, you know, the data you are
24 collecting is reflective of what actually
25 is going to happen?

1 **MS. FRAN KREMER, EPA:**

2 Our situation is probably a bit
3 different. And one is because of the
4 monitoring -- the monitoring structure we
5 have and kind of the area around the
6 burner and taking caution, protecting our
7 sampling equipment and then also getting
8 the right material loaded.

9 So we are going to have operators,
10 basically, moving the material closer to
11 the burn, and then an operator who is
12 actually going to take that and load it
13 into a unit. And that in and of itself
14 may not represent what happens in the
15 field but for purposes of our evaluation,
16 that is just the way we need to structure
17 that.

18 Again, to really collect the data that
19 needs to be collected. And also for the
20 safety of our people here because we have
21 so many people and we've got a lot of
22 instrumentation and we've got a lot that's
23 going to be going on.

24 **MR. ROGER WILMOTH, EPA:**

25 Yeah. And we don't want to run over

1 our monitors, you know. That's a problem.

2 **LACY SMITH:**

3 Okay. I am not sure if the RACM demos
4 which are like -- you know, RACM houses
5 being burnt, have those already occurred
6 and have they been brought to site, and if
7 so, what's going to happen to them?

8 **MS. NANCY JONES, EPA:**

9 They have -- none of the homes whether
10 it was construction and demolition
11 material or the regulated asbestos
12 containing material homes that we had
13 considered using in the tests have been
14 demolished at this time.

15 Now, they will be treated just like
16 the rest of the demolitions that are
17 occurring in the Parish. They were
18 regularly scheduled. They were not being
19 demolished just for the purpose of our
20 test.

21 FEMA presented us with a list of 1,200
22 houses. We looked at all 1,200 houses.
23 So I understand that -- you know, the
24 client you are working with had asked me a
25 number of times, you know, what houses.

1 We had 1,200 houses we were looking
2 at. It took us a long time to narrow it
3 down. We didn't know until last week
4 which houses we actually were going to
5 use. It really took us that long.

6 I know that she probably didn't
7 believe that, but it really took us that
8 long because we sampled -- we didn't
9 sample all 1,200 but we looked at them all
10 whether we looked at them in person or we
11 looked at them online or we looked at the
12 information that the Parish had provided
13 us about the house.

14 **LACY SMITH:**

15 Okay.

16 **MS. NANCY JONES, EPA:**

17 But we looked at them all and then we
18 sampled a lot. I don't know off the top
19 of my head how many, but it was quite a
20 number that we sampled. And it really --
21 even after we had all the results, we
22 didn't just make a snap decision.

23 It really was scrutinized and
24 evaluated very carefully of what houses
25 specifically. And so we narrowed it down

1 to just one. Out of all the houses that
2 were approved by FEMA to be demolished
3 during this period of time, we came down
4 to one. We liked one house.

5 And at one point, there was a question
6 of whether it was going to be demolished
7 in time. And so we, like, actually didn't
8 have a backup. So that -- we were going
9 to have to postpone the test because we
10 didn't have our house.

11 I mean, it was that -- we were that
12 specific. And any house wouldn't do. Any
13 C&D house wouldn't do. We specifically
14 wanted, you know, a house that met the
15 criteria that we were looking at.

16 And for this purpose, it was a house
17 that had a little to no asbestos. So just
18 being C&D wasn't enough for us.

19 **LACY SMITH:**

20 Okay. I just wanted to -- I guess --
21 that concern was expressed to me of
22 getting any asbestos RACM, you know, that
23 was on landfill property or dump property
24 off the property.

25 **MS. NANCY JONES, EPA:**

1 Yes. It is not there, yes.

2 **LACY SMITH:**

3 Okay.

4 **MS. NANCY JONES, EPA:**

5 And again, it will be just handled as
6 if the test had never even been
7 considered. It will just go on its own
8 process.

9 **LACY SMITH:**

10 And then -- Sam, you were talking
11 about validity being very important and
12 not doing studies that if the data is not
13 going to be valid -- and I guess in my
14 research I've come across, you know,
15 criticisms of the monitoring method.
16 Particularly, like asbestos in that of
17 the, I guess, opinions I've read and come
18 across, there has never been a test for
19 the validity of the method of the air
20 monitors as far as just testing to make
21 sure the air monitors are doing what
22 they're supposed to do.

23 **MR. SAM COLEMAN, EPA:**

24 Yes. That's makes perfect sense. I
25 am waiting on you to finish.

1 **LACY SMITH:**

2 Okay. So is that data available for
3 people because -- for people to review and
4 then comment on and, you know, give their
5 comments to you because I think right now
6 a lot of the public is under the
7 impression that you are using a method
8 that is untested and, I guess, in theory
9 unreliable to test to see if something
10 else is happening.

11 **MR. SAM COLEMAN, EPA:**

12 I understand. I can't remember but
13 Roger --

14 **MR. ROGER WILMOTH, EPA:**

15 I think I am the one that is best --

16 **MR. SAM COLEMAN, EPA:**

17 Yes.

18 **MR. ROGER WILMOTH, EPA:**

19 Okay. This method was initially
20 developed by the Agency to deal with the
21 demolition of buildings and evaluate how
22 effective the demolitions were.

23 It was -- it was developed by a panel
24 of Agency experts and a group of industry
25 experts. It was then publicly and

1 formally peer reviewed.

2 We took the comments that, in fact, we
3 got from the public and other interested
4 parties at that time and we modified it to
5 try to adapt to whatever concerns that
6 were valid and we incorporated that in our
7 monitoring strategy, okay.

8 That monitoring strategy has now been
9 used in the three agency -- the
10 Alternative Asbestos Control Method
11 (AACM) tests or evaluations that were also
12 and, in fact, are going to be also peer
13 reviewed -- one has already been peer
14 reviewed.

15 The next two are going to be available
16 probably about the first of July, that
17 used virtually the identical monitoring
18 technology.

19 There are a number of comments that
20 have been, in fact, made about this,
21 mostly by lawyers. But those didn't look
22 at the fact that the actual filters did
23 detect fibers, and those fibers in these
24 instances, you know, may or may not have
25 been asbestos.

1 So, basically, if the technology
2 wouldn't have worked, we wouldn't have
3 captured anything. So as a result of the
4 fact that we are capturing fibers on them,
5 you know, is an indicator that the
6 technology is working and the fact that we
7 have a ring around 18 monitors, which is a
8 lot of monitors, it gives us a great
9 confidence.

10 Now, also in addition to that, we are
11 also going to be monitoring the dust. So
12 we are not only monitoring the actual air,
13 but we're monitoring the dust that falls
14 right next to the monitor. And so that
15 gives us a lot of additional information.
16 Now, if you would like the names of the
17 members of the group that developed the
18 technique, I have that with me.

19 **LACY SMITH:**

20 Okay.

21 **MR. ROGER WILMOTH, EPA:**

22 If you would like the names of the
23 individuals that peer reviewed this, I
24 have that with me and the comment was,
25 that we had developed a team of experts

1 that was the -- basically, the who's who,
2 you know, of asbestos research. So
3 comments that the methods are not valid
4 are just -- are just not appropriate.

5 **LACY SMITH:**

6 Okay. But I guess there has never
7 been a controlled study to test whether
8 these filters are picking up. Did we
9 purposely throw asbestos into the air to
10 see if we can measure it?

11 **MR. ROGER WILMOTH, EPA:**

12 Purposely you think it's asbestos.

13 **LACY SMITH:**

14 Well, no, I mean --

15 **MR. ROGER WILMOTH, EPA:**

16 No, we didn't do that.

17 **LACY SMITH:**

18 I know that but I guess --

19 **MR. ROGER WILMOTH, EPA:**

20 Well, that would be the only way that
21 we would really, really be able to
22 evaluate the technique.

23 **UNIDENTIFIED AUDIENCE SPEAKER:**

24 Are you concerned about the capture
25 efficiency?

1 **LACY SMITH:**

2 Exactly. I mean, I guess an analogy
3 for her before is, I can stand in an
4 outfield with a glove and if you hit
5 enough balls, one is going to fall in.
6 That doesn't make me a good outfielder.

7 **MR. ROGER WILMOTH, EPA:**

8 Okay. Let me -- maybe it's time to
9 use another analogy. You know, if
10 somebody asked you to go down and
11 characterize the water quality in the
12 Mississippi River, I mean how many samples
13 would you take? Would you have to sample
14 the whole river?

15 **LACY SMITH:**

16 No. But I would want it to be
17 significant.

18 **MR. ROGER WILMOTH, EPA:**

19 It is significant. If you look at the
20 probability that we're going to do that,
21 the probability is very high. These
22 asbestos fibers are not particularly
23 bright. And so they don't -- in fact,
24 don't basically know where the monitor is
25 and so they don't dodge around it. So

1 whereas, you know, the other fibers are
2 being collected.

3 In fact, one of our problems is that
4 we have to be careful that we don't
5 overload the filters, because of the fact
6 we are not able to read the asbestos. So
7 the filters are effective in being able to
8 do what they need, you know, and designed
9 to do.

10 The problem is that it costs a lot of
11 money to do the analysis because you have
12 to count all those number of grids. If
13 you have a low air -- a lower rate to
14 guarantee that you're not going to
15 overload them, then you have to count
16 extra grids in order to get the analytical
17 sensitivity that you want.

18 It costs much more money. So you are
19 trying to balance the both of those. And
20 for those of you who have, in fact, worked
21 with asbestos you know what I mean.

22 **LINDA SWANNER:**

23 Yes.

24 **MR. ROGER WILMOTH, EPA:**

25 So we have great confidence that the

1 combination of the air filters and the
2 dust data are going to provide us a very
3 accurate comfort zone, that if there is an
4 asbestos release we are going to be able
5 to detect it.

6 Plus, on top of that as I mentioned,
7 you know, usually we are, in fact, going
8 to be monitoring all the workers. So in
9 addition to the perimeter monitors, then,
10 in fact, the worker levels are the ones
11 that we would expect to be high if there
12 was a release. You know, much higher
13 than, you know, you or me.

14 The perimeter monitors are -- and the
15 farther away that you go -- you know,
16 obviously, the less the concentration is
17 going to be because you are going to get
18 pollution.

19 So the -- you know, the closer the
20 reading is to the actual operation, the
21 better your probability is that you will
22 be able to capture any releases.

23 **MS. NANCY JONES, EPA:**

24 And again, keep in mind we are talking
25 about a C&D house that, you know, had

1 virtually, you know, no asbestos in it. I
2 am not going to say it had none. But, I
3 mean, it had the least amount that we
4 could find.

5 **LACY SMITH:**

6 Oh, I guess I was thinking more of,
7 you know, if and when RACM is burnt and it
8 would be -- I guess applicability --
9 holistically, it's very safe in being
10 done.

11 **MS. NANCY JONES, EPA:**

12 Well, actually that is part of the
13 reason, you know, why we are actually
14 wanting this test to serve as looking at
15 the future of whether or not this type of
16 methodology is appropriate.

17 And so that's one of the things that
18 we're looking at. And so that's why we
19 are going to do the asbestos monitoring as
20 part of this test even though it is a C&D
21 house, because, again, we're looking at
22 the methodology.

23 So we're doing this in baby steps to
24 make sure that if in the future we decide
25 that we want to do that next phase of the

1 test, what tweaks do we need to make, is
2 it even appropriate, that type of thing.

3 **LACY SMITH:**

4 Okay. Yeah, I guess -- (inaudible) --
5 is why I just felt it would appropriate to
6 have an official notice and comment on any
7 kind of test in the future that would
8 involve RACM.

9 **MS. NANCY JONES, EPA:**

10 Right. And it may not be the exact
11 same test. I mean, this test may effect
12 how a future test would look, because we
13 thought, you know, it was appropriate to
14 take a step back, and again evaluate this
15 approach.

16 **LACY SMITH:**

17 Okay. That's all my questions.

18 **MR. SAM COLEMAN, EPA:**

19 You didn't cover seven pages.

20 **MS. NANCY JONES, EPA:**

21 He was making a joke.

22 **MR. SAM COLEMAN, EPA:**

23 Okay. Does anybody have any other
24 questions whatsoever?

25 **LEO DEMARIS:**

1 Whatsoever?

2 **MR. SAM COLEMAN, EPA:**

3 Whatsoever?

4 **MS. NANCY JONES, EPA:**

5 There's always the next meeting.

6 **MR. SAM COLEMAN, EPA:**

7 I do not want anybody to leave and
8 say, you know, I had a question and I
9 didn't get them to answer it.

10 **MS. NANCY JONES, EPA:**

11 And let me go ahead and give out my
12 e-mail address if you have questions. And
13 you know Sam said you have until, you
14 know, close of business Monday. It's
15 jones.nancy@epa.gov.

16 **UNIDENTIFIED AUDIENCE SPEAKER:**

17 You don't have a card by any chance,
18 do you?

19 **MR. SAM COLEMAN, EPA:**

20 Did you get one of mine?

21 **LEO DEMARIS:**

22 You handed out a couple of them.

23 **MR. SAM COLEMAN, EPA:**

24 I was hoping to collect some money for
25 these but nobody was paying.

1 **MS. NANCY JONES, EPA:**

2 You actually (inaudible) --

3 **MR. SAM COLEMAN, EPA:**

4 I just want to make sure -- are there
5 any other questions? Are there anymore
6 questions?

7 **UNIDENTIFIED AUDIENCE SPEAKER:**

8 Are there anymore nominations?

9 **MR. SAM COLEMAN, EPA:**

10 Anymore nominations? I don't want
11 anybody to leave in want of an answer.

12 **LACY SMITH:**

13 Is everyone here going to be here
14 Saturday?

15 **MR. SAM COLEMAN, EPA:**

16 I will not be here Saturday. I am not
17 actually sure who is going to be here
18 Saturday. I have to -- I will be helping
19 my daughter move on Saturday.

20 **LACY SMITH:**

21 Okay. So --

22 **MR. SAM COLEMAN, EPA:**

23 Who is going to be here Saturday?
24 Fran is going to be here. Nancy is going
25 to be here. Pam is going to be here.

1 **MR. ROGER WILMOTH, EPA:**

2 I don't know if I'm going to be here
3 or not. I have to leave the next day to
4 go to Baltimore to make a presentation.

5 **MS. FRAN KREMER, EPA:**

6 Well, you can fly back with me.

7 **MR. ROGER WILMOTH, EPA:**

8 Yeah.

9 **MR. SAM COLEMAN, EPA:**

10 I will be moving boxes. Okay. I will
11 not hold you. I want to make sure you
12 folks have had a chance to ask any
13 question.

14 I want to thank everybody for coming.
15 Monday we need to get any comments that
16 folks have. You can submit them to me or
17 you can submit them to Nancy. I think you
18 can submit it to Lawanda. Anybody at EPA
19 whose e-mail address you have, we'll be
20 able to get it all together and be able to
21 respond.

22 **LINDA SWANNER:**

23 Do you think you could postpone it
24 until Tuesday since the meeting is not
25 until Saturday? It would give people a

1 chance to comment since the notice was put
2 in the paper today, and it didn't really
3 give many people a chance to come and see
4 the meeting.

5 **MR. SAM COLEMAN, EPA:**

6 I don't think I can.

7 **LINDA SWANNER:**

8 I would appreciate it if you could.

9 **MR. ROGER WILMOTH, EPA:**

10 She's good. Now, she's good.

11 **MR. SAM COLEMAN, EPA:**

12 I know. That is very good. I will
13 have to consider that. The problem that
14 we have, of course, is to respond to
15 everything by a certain date. It is
16 important that you have the comments, so
17 if we extend the dates then that just puts
18 us and discombobulates us.

19 **MR. ROGER WILMOTH, EPA:**

20 Yes. And see, my guys have to -- if
21 we're going to revise it, you know, we
22 have to have it --

23 **MR. SAM COLEMAN, EPA:**

24 You've got to have timing.

25 **MR. ROGER WILMOTH, EPA:**

1 -- finished by next week, so we can't
2 be getting something Tuesday. And if it
3 involves any type of --

4 **LINDA SWANNER:**

5 Right. I know, but we got late
6 notice. And I don't know about you-all,
7 but I work overtime. We're going to have
8 to --

9 **MR. SAM COLEMAN, EPA:**

10 They are working overtime.

11 **MR. ROGER WILMOTH, EPA:**

12 We've been working 60 hours a week for
13 the past two months and only getting paid
14 for 40.

15 **LINDA SWANNER:**

16 Yeah. This is pretty important
17 though. It is important to the residents.
18 So I really would like to see Tuesday, if
19 we could, if at all possible.

20 **MR. SAM COLEMAN, EPA:**

21 Well --

22 **LINDA SWANNER:**

23 It would be very much appreciated. It
24 would also demonstrate good faith on the
25 part of --

1 **MR. SAM COLEMAN, EPA:**
2 That's even better.

3 **MR. ROGER WILMOTH, EPA:**
4 That's right. She is good, isn't she?

5 **LINDA SWANNER:**
6 I'm just asking.

7 **MR. SAM COLEMAN, EPA:**
8 I know. I know. We will see what can
9 be done.

10 **LINDA SWANNER:**
11 Thank you.

12 **MR. SAM COLEMAN, EPA:**
13 Yes. We will try and make that
14 accomplished.

15 **LINDA SWANNER:**
16 Thanks. I appreciate it.

17 **MR. SAM COLEMAN, EPA:**
18 Any other issues? Okay. Thanks.
19 Good night everyone.

20 **MS. NANCY JONES, EPA:**
21 Thanks for coming.

22 **MR. SAM COLEMAN, EPA:**
23 Drive safe.

24 **(Off the record at 8:55 p.m.,**
25 **whereupon, the taking of the EPA Hearing**

1 **on Wednesday, the 11th of June, 2008, is**
2 **concluded.)**

3
4
5 **R E P O R T E R ' S P A G E**

6
7 I, Angie Henning, Certified Court Reporter, in
8 and for the State of Louisiana, the officer, as
9 defined in Rule 28 of the Federal Rules of Civil
10 Procedure and/or Article 1434(b) of the Louisiana
11 Code of Civil Procedure, before whom this hearing
12 was taken, do hereby state on the record:

13 That due to the interaction in the spontaneous
14 discourse of this proceeding, dashes (--) have
15 been used to indicate pauses, changes in thought,
16 and/or talkovers; that same is the proper method
17 for a court reporter's transcription of a
18 proceeding; that the dashes (--) do not indicate
19 that words or phrases have been left out of this
20 transcript; and that any words and/or names which
21 could not be verified through reference material
22 have been denoted with the phrase "(phonetic)."

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF LOUISIANA:

I, Angie Henning, Certified Court Reporter in and for the State of Louisiana, as the officer before whom this hearing was taken, do hereby certify that the foregoing pages, constitute a true and correct transcription of the evidence adduced on the taking of the

EPA PUBLIC MEETING,

on Wednesday, the 11th day of June, 2008, at the St. Bernard Parish Council Trailer, 8201 West Judge Perez, Chalmette, Louisiana, after the public meeting was commenced; that the hearing was reported by me in the voicewriting reporting method and thereafter reduced to typewriting by me; that I am not related the parties herein, nor am I otherwise interested in the outcome of this matter.

ANGIE HENNING, CVR, CCR #23023

1
2
3
4

