

1 improvements, both in terms of first fix and accuracy. This  
2 is coming from the use of faster DSP and improved GPS  
3 algorithms. Thank you.

4 MR. HATFIELD: Thank you very much. Our next  
5 presenter is from Sirf Technology.

6 MR. CHADHA: Hi, my name is Kanwar Chadha. I'm  
7 the founder of Sirf Technology. Sirf is a start up company  
8 focused on providing GPS chip set and core IB for multiple  
9 markets. And today we will discuss the E-911 based  
10 solutions based on handsets.

11 I do want to emphasize upfront that whatever  
12 location technology we choose as a country, we have to focus  
13 on where the future potential is, not necessarily where the  
14 existing infrastructure is. The technology has to be useful  
15 to consumers for E-911, and potentially for evaluative  
16 services. And significant investment, whether it's in  
17 millions or tens of millions or hundreds of millions, is  
18 going to be needed to make the technology and infrastructure  
19 work together. It's important to invest that wisely.

20 Main features of Sirf's location architecture is  
21 that it's based on GPS in handsets. It does improve on the  
22 performance of traditional GPS technologies and we'll go  
23 over some of the things it does better. It supports more  
24 than the standard GPS, as well as more than just network-  
25 assisted GPS. In fact, it has three modes. It supports

1 autonomous, network-assisted and network-driven environments  
2 and I'll talk a bit about that.

3 It can provide location information independent of  
4 the networks, so it will work in amps, D-AMPS, GSM, CDMA,  
5 any kind of environment. We do believe that open interface  
6 standards will drive the technology into the marketplace and  
7 there is significant activity going on in DIA groups to  
8 standardize on the error interfaces.

9 One thing about handset technology is that it  
10 allows people to get the technology at a price point in a  
11 manner, and keep aware of the technology as it changes. And  
12 we'll go over some of those.

13 Why GPS? As my colleague from SnapTrack has  
14 already talked about, there is significant investment going  
15 into building a location infrastructure based on GPS. And  
16 we are taking advantage of that infrastructure and combining  
17 it with some of the wireless network's capability. It has a  
18 much better potential for consumers in the long run. With  
19 DGPS, you can get accuracy five to 15 meters. And today,  
20 DGPS are expensive, but in the next two to three years,  
21 there will be a nationwide deployment of DGPS, so any GPS  
22 chip set itself will be able to receive the DGPS signal,  
23 just like we receive the signal from the GPS satellites and  
24 get that accuracy.

25 It does provide compatible decross (phonetic)

1 multiple networks and, as you have seen the results from  
2 SnapTrack, as well as you will see some of the trials done  
3 by IDC, we can support multiple networks very easily.

4 One thing to keep in mind is handsets upgrade is  
5 very fast. So thinking with Legacy issue, we have to keep  
6 in mind, people do upgrade their handsets. And every two to  
7 three years, you will see that enough, that most of the  
8 handsets will have this technology built in. And with  
9 proper implementation, carriers, that rate can be improved  
10 even more.

11 And the technology cost, we have to believe in the  
12 silicon and the volume. Every two to three years, the  
13 silicon enables you to put more and more features into the  
14 architecture, and the volumes of handsets will drive the  
15 cost down. What used to be \$100,000 computer a few years  
16 back probably you can get for \$599 today. And similar  
17 things are going to happen with the handset DGPS technology.

18 There are some problems with traditional GPS in  
19 terms of performance, as well as accuracy in open canyons,  
20 dense foliage, indoors. But there is no reason why those  
21 problems cannot be addressed by common architectures good  
22 for autonomous GPS, as well as for wireless assisted GPS.  
23 Other issues with GPS have been power consumption, size,  
24 cost and how to integrate into the handsets.

25 What Sirf has done is, first of all, we have

1 improved the performance of autonomous GPS. It's very  
2 important to have a good autonomous GPS performance, because  
3 that gives you the maximum freedom from various networks.  
4 This is a default mode for getting a position if the network  
5 assist does not work. So having a good autonomous GPS  
6 performance is good. And the results we have show that it's  
7 reasonable to expect that autonomous GPS will work  
8 reasonably well in open canyons, in one to two story houses,  
9 as well as in one to two story parking lots.

10 Obviously, in a multi-story building and some of  
11 the more complex environment, you will have some issues.  
12 But probably the money is better spent that you're getting  
13 the consumer to use wireless phones in those kind of  
14 environments.

15 Also, with the wireless assist, especially in  
16 terms of getting some type of assist, you can improve the  
17 performance accuracy more. Power consumption, size and cost  
18 can easily be handled by looking at the silicone technology  
19 curve. A GPS receiver is this size, which is pretty easy to  
20 put into a handset. And this is a free functional GPS  
21 receiver. In the handset, you can share some of these  
22 resources and the size is probably more like this chip.

23 So the size constraints, the power constraints,  
24 can easily be handled just looking at the packaging of  
25 silicone technology.

1           Let us look at three modes I talked about. These  
2 are slightly different from what Dr. Birchler described  
3 initially. The autonomous mode is a traditional GPS mode  
4 where all calculation is done in the handset. We define  
5 that network-assisted mode where the calculation is still  
6 done in the handset, but the network provides certain  
7 assists and the assists are approximate location, DGPS  
8 correction if it's not directly from the loss of satellite,  
9 and the data, with traditional GPS receivers, we need to  
10 collect from the GPS satellites.

11           The third, approach is the network central or  
12 network-driven approach, where you can combine GPS with  
13 other network-based technologies to get the position. There  
14 are different trade offs. Autonomous more clearly has the  
15 lowest impact on the infrastructure, and as I said, this is  
16 a default mode. If nothing else works, GPS autonomous mode  
17 will give you a position independent of any network. And  
18 the performance of autonomous mode can be improved by having  
19 some sophisticated software so that the autonomous mode  
20 keeps the GPS receiver in what we call a hard mode, and you  
21 will get a positioning anywhere between three to eight  
22 seconds with that mode.

23           That assisted mode, of course, overcomes some of  
24 the start up performance issues and provides the capability  
25 in indoor type of environment. Network driven does have

1 some impact on the similar side, the network side, in terms  
2 of band width and computations, but that one piece there is,  
3 you could combine GPS with some network centered  
4 technologies like has been done in CDMA network.

5 We also have to keep in mind what the consumer is  
6 looking for. They are not only looking for emergency  
7 assistance. In the long run, they are looking for certain  
8 services, in terms of navigation, in terms of tracking, in  
9 terms of finding their kids. And flexible architecture  
10 allows them to have all these capabilities. Autonomous mode  
11 probably is very useful for navigation and tracking.  
12 Network assisted and network driven modes are useful for on  
13 demand positioning such as in emergency response.

14 Their expectations are, instant position, accurate  
15 and for almost free. And I think these can be met. This is  
16 an example of some of the drives. We have done two, open  
17 canyon and like San Francisco. And you can see the  
18 satellite visibility is going to be pretty low in this kind  
19 of environment.

20 But even in an autonomous mode, the accuracy of  
21 GPS is pretty good. The solid line is the actual track and  
22 the line which goes around, the blue line, is what GPS  
23 receiver tells you. So it's easy to achieve reasonable  
24 accuracy, even in autonomous mode in an open canyon type of  
25 environment.

1           As for the cost issues concerned and Legacy  
2 handsets, first of all, with the GPS attachment, you can  
3 upgrade some of the Legacy handsets. Obviously not all, but  
4 a significant amount of those could be upgraded. And as we  
5 see the IDC integration, which means you integrate the  
6 silicone used for GPS with wireless silicone, the cost can  
7 be brought down to easily less than \$10.

8           In the end, what you will get is a form which not  
9 only provides the E-911, but provides other benefits to the  
10 consumer for getting location based services. The  
11 technology is available today. It is cost effective and  
12 generally will meet lower costs by taking advantage of the  
13 volumes of handsets. You can provide a retrofit. The  
14 accuracy is much better and will improve with time as the  
15 GPS infrastructure evolves and it's compatible across  
16 multiple networks.

17           If you look at the future potential, this is the  
18 foundation we are laying down for location-based services  
19 and emergency response is probably one of them. Consumers  
20 will pay for the capability they get in the handsets. Thank  
21 you.

22           MR. HATFIELD: Thank you very much and you've all  
23 done such a good job of keeping on time that we're actually  
24 a little bit ahead. So what I thought I'd do here is let  
25 each of you maybe respond to what you heard, one or two

1 additional points that you wanted to make and were unable  
2 to, I would welcome that now. And why don't we start back  
3 over here with -- oh, I'm sorry. Sorry about that. We're  
4 not running so well. I didn't have enough coffee this  
5 morning to make up for last night.

6 MR. KNAPP: But now that you've had fair warning -

7 -

8 MR. HATFIELD: Right, so, I'm very sorry. We'll  
9 start with the representative from Aerial Communications.

10 MS. FRASCO: Thank you very much. My name is Beth  
11 Frasco. I'm head of radio planning for Aerial  
12 Communications. I'm responsible for the design, planning  
13 and strategy of our current and future radio networks. As a  
14 part of my responsibilities for the last year and a half or  
15 so, we've been looking at ALI issues for my company and how  
16 we're going to comply with the FCC's Phase II mandate. And  
17 among the various positioning methods that we've looked at,  
18 I'm going to be speaking about the Enhanced Observed Time  
19 Difference Method, which I'll call E-OTD from this point  
20 forward. Next slide, please?

21 First of all, let me make one thing really clear.  
22 We're not a vendor, we're not a manufacturer, we're an  
23 operator. We're a consumer of this technology to meet the  
24 FCC's Phase II mandate. We're in a very specific situation.  
25 We're a PCS A and B block licensee. We've been in operation



1 for just about two years now. It's a fairly small installed  
2 base of customers. We also use GSM technology which makes  
3 us in a particular category, as well.

4 Let me tell you about a particular situation. We  
5 believe that this particular method that I'm speaking about,  
6 E-OTD, has some really attractive components to it for us,  
7 and we would like to have -- it makes the option to use this  
8 particular technology, which is handset based, desirable.  
9 Next slide, please.

10 Just a quick overview of E-OTD. It is a  
11 triangulation based technique. It does require multiple  
12 base stations to do positioning, and it is a handset based  
13 solution. The one thing that is quite unique about E-OTD in  
14 comparison to the other methods that we've seen today is  
15 that it does not use GPS in the handset. It does not use  
16 any GPS receivers in the handset.

17 However, it does require some modifications to the  
18 handset, largely in the form of software modifications. The  
19 other thing that's sort of unique about this method is that  
20 it's very GSM specific. In fact, when the original GSM  
21 specifications were developed a number of years ago, the  
22 founding fathers and mothers of GSM anticipated a need for  
23 positioning technology down the line, and they realized that  
24 there were certain hooks that already existed in the  
25 technology that could be used for positioning and they

1 conceptualized this particular method as a solution for  
2 that. Next slide, please.

3           So what is it about GSM that lends itself to this  
4 particular positioning technology? I'm going to give a 30  
5 second overview of how GSM works for those of you that may  
6 be unfamiliar. Well, GSM network, unlike some other digital  
7 cellular networks, is unsynchronized. We mean that the base  
8 stations transmit within a frame structure that is known  
9 only to the base station itself.

10           However, for mobile to make a call, every mobile  
11 needs to be aligned with a particular base station's frame  
12 structure. The base station is going to be carrying that  
13 call. So to facilitate that synchronization, the base  
14 stations regularly emit a synchronization burst. And all  
15 mobiles will monitor the synchronization bursts of not only  
16 their own serving cell with which they will align their  
17 internal clock, but also all the neighbor cells in the  
18 surrounding area. We call this presynchronization.

19           So the mobile basically all the time has knowledge  
20 of the time differences between the base station that it's  
21 being served by and all the surrounding base stations. And  
22 this is what we're really leveraging in the E-OTD method.  
23 And we're building on this capability and extending it to do  
24 positioning. This makes E-OTD a very elegant solution and  
25 simplifies the installation costs, implementation costs and

1 hardware and software required to achieve the FCC mandate.  
2 And I'll explain more about this as we go on. Next slide,  
3 please.

4 So how E-OTD works, it's very similar to the  
5 network-based methods that we've already talked about today,  
6 except it operates in the reverse. Instead of making  
7 measurements on the uplink, we are making measurements now  
8 on the down link. The mobile itself is making the  
9 measurements of the arrival time of bursts from each of its  
10 neighboring base stations in addition to its serving base  
11 station. The mobile then reports those arrival times back  
12 to the network and the network can use that information to  
13 triangulate position.

14 But to do this, it needs three things. The  
15 coordinates of the base stations, the arrival time of each  
16 bursts that are reported from the mobile itself, and  
17 finally, the timing differences or timing offsets between  
18 all the base stations, because remember, the network is  
19 unsynchronized. We obviously know the first bit of  
20 information and the second two are what we need to implement  
21 hardware and software to obtain. Next slide, please.

22 Some of you talk about what kind of hardware and  
23 software we have to implement at our base stations to make  
24 this work. And for a carrier, we can talk about pure  
25 technology issues. To some extent, the thing that really

1 makes or breaks our ability to be compliant are the really  
2 very practical and sometimes mundane implementation issues.

3           You can see from this slide a kind of a block  
4 diagram of the hardware that's needed at the base station.  
5 There are several ways to actually accomplish the task that  
6 needs to be done here, but this is one particular  
7 implementation. Remember that what we need from the base  
8 station is knowledge of the absolute time of transmission of  
9 the burst from the base station.

10           So essentially what I have is a mobile that notes  
11 the transmission of the bursts and the GPS receiver which  
12 can then be used to time stamp that burst with an absolute  
13 time reference. That same note in the box can then transmit  
14 that information back to the network via the base station  
15 with which it is co-located.

16           Now, from a carrier's point of view, this is  
17 really attractive, because it facilitates a very rapid and  
18 very efficient implementation of this outside hardware. We  
19 don't have to actually add any additional antennas, lines or  
20 feeders, which would be very costly and very time consuming  
21 as we'd have to reinforce structures, negotiate with  
22 landlords or perhaps even build new structures. We also  
23 don't need to impede on our existing radio infrastructure,  
24 namely the lines and antennas, which are for most operators,  
25 the Achilles heel of their network. And we don't need to

1 incur any performance degradation on those links, which  
2 could potentially impact the voice performance of our  
3 network.

4 So it's quite important to us to consider these  
5 issues. Next slide, please.

6 On the handset side, for the implementation, again  
7 remember that this a pretty elegant solution. We're  
8 building on something that the handset already does and  
9 we're extending it. And what we need to, essentially, is  
10 make the measurement more precise. So because of already  
11 making these measurements, I don't need to change the  
12 physical hardware of the phone. I don't need to change the  
13 antenna structure and I don't need to change the DSP or RF  
14 hardware, because the phone is already making these types of  
15 measurements. Well, again, what I do need to do is enhance  
16 that measurement. I need to make it more accurate and more  
17 precise. And so what I need now is some additional cells on  
18 the phone that's going to do three things.

19 First of all, it will employ some more  
20 sophisticated multi-path ejection techniques to more  
21 efficiently discriminate the line of site component between  
22 the base station and the mobile phone and therefore, get the  
23 true time delay between the two points.

24 We need to employ some integration techniques to  
25 improve the detectability of the burst, and finally, we need

1 to have some software so that the mobile can report that  
2 measurement back to the network. Now, let me just say that  
3 I picked my handset here because it matches our logo, not as  
4 endorsement of any particular vendor. That was a joke.  
5 Okay, next slide, please.

6 Okay, another thing that's quite important to us  
7 as a vendor -- I'm sorry, as an operator -- is that we want  
8 to have a wide variety of manufacturers to select from. E-  
9 OTD has been developed in T1P1.5 and the standardization  
10 work has been in by major manufacturers and vendors and also  
11 operators in the GSM community. So you can see that this  
12 list is quite extensive and included several of the major  
13 GSM manufacturers.

14 So this is important to me from a carrier, not  
15 only for having a choice by view, but because it insures me  
16 that I will have options to pick from that are very  
17 competitive, have the lowest possible price and also have  
18 been driven to the technological limits. That's the end of  
19 the slides.

20 In summary, I just want to say that E-OTD for us  
21 is a very elegant solution, in that it's building on the  
22 existing functionality of the network. The benefits this  
23 gives us as an operator is a very elegant and simple  
24 installation, fairly rapid installation of the technologies,  
25 improve our ability to comply with the FCC Phase II mandate.

1 And because as you can see and as you've seen, the changes  
2 and hardware that we need to implement in the network and in  
3 the handset are fairly simplistic, and not all that  
4 expensive, we can also be assured of a lower cost solution.  
5 Thank you very much.

6 MR. HATFIELD: Thank you very much and we'll turn  
7 now to the final handset presentation by Integrated Data  
8 Communications.

9 MR. PRESTON: Yes, sir, do I get all the rest of  
10 the time?

11 MR. HATFIELD: No, no, we'll split it up.

12 (Laughter.)

13 MR. PRESTON: I'm Dan Preston, chief technical  
14 officer of IDC. We're in a place called Bainbridge Island,  
15 Washington, which is about six miles due west of the Space  
16 Needle. It's appropriate that I'm last, because we're  
17 actually an L Commerce business. I need to explain that a  
18 little bit. We're in the commercial public safety business,  
19 web applications, things like that.

20 I took a unique approach about two years ago to  
21 solve this problem. We could only deal with the tools that  
22 we had at that particular time to solve this problem for  
23 public safety and the thing that I had rented was, at ten  
24 cents a minute, was the call pack or the voice channel. We  
25 drew up protocols that were basically, that are networking

1 dependent, and transmitted data within the call pack.

2           It's a handset based solution. We supported GPS -  
3 - I guess we lost our slides -- there we go. We supported  
4 GPS during the trial and at the King County last year. We  
5 support any satellite position type technology. We also  
6 support any other type of technology, where the XY can be  
7 driven out to the handset, or it can be generated to  
8 handset.

9           We did a trial in Seattle, King County, Seattle,  
10 and I'm sure that by now, many folks in the audience have  
11 seen the results of the trial. We did it to satisfy public  
12 safety. The folks at public safety, we sat down with them  
13 and asked, how would you guys like to really solve this?  
14 And they sat with us for some months, talking about  
15 technology, the capability of the technology, and what we  
16 thought we could do.

17           Back up to the first concept of L Commerce, we're  
18 developing products now for fourth quarter '99 release. We  
19 don't need the wireless carrier's infrastructure to be  
20 changed to make our solution work. Next slide.

21           Basically, when I looked at the problem, the  
22 question was, how could I make the wireless carrier look  
23 like part of the LEC or part of the public switch telephone  
24 network? How could I make the wireless carrier, or how  
25 could I make the wireless handset look like an extension of



1 the LEC or look like an extension of the call taker? And  
2 again, it was a call path method. Call path is not an  
3 unusual method, CAMA signalling, Feature Group B signalling  
4 has been around for many years. Next slide.

5 The folks in Seattle in public safety were  
6 concerned about real test, real venues, real call takers,  
7 real trunks, real vendors. We went out, we put together  
8 this public safety trial and we forced canopy -- that was  
9 like double, triple canopy inside Seattle. Urban canyons --  
10 if you folks haven't been up to Seattle recently, we've got  
11 lots of seven-story buildings, albeit lead on the outside,  
12 quite a bit of the time -- suburban and mountains. Next  
13 slide.

14 We did a six-month trial with King County. We  
15 actually sat down and brought together all of the incumbent  
16 facility and all of the incumbent facility providers, the  
17 folks from SCC, who do the standard alley type work and so  
18 on. Marla said, though -- Marla Davis is the King County E-  
19 911 director -- and she said that 125 meters was a good try,  
20 but she wanted to know if we could get it down to 40 feet.  
21 She wanted to know if we could route calls to the  
22 appropriate PSAPs. Could we refresh the data in band, or  
23 could we refresh the data? Could we find 90 percent of all  
24 the callers? Could we integrate this in three real PSAPs,  
25 which are call takers? And that she would provide to us

1 cooperation from the land line carriers, vendors and public  
2 safety.

3 The mantra of what we did was, if we could satisfy  
4 public safety, we had a hell of a commercial business. So  
5 we set about trying to basically raise the bar on public  
6 safety and then create this public business. Next slide.

7 The good news we found 100 percent of the callers.  
8 Now, these are 100 percent of the location-enabled handsets,  
9 and we had 30 handsets for this particular trial. I've  
10 spent a lot of time talking to the FCC about how do I  
11 present the data. There were three ways to present it. The  
12 least conservative method here was to give you the raw data.  
13 A next lesser conservative measure would be to do some RSM  
14 averaging and finally some CEP-type averaging.

15 The good news is we found 100 percent of callers -  
16 - when I talked to Marla Davis, approximately 48 percent of  
17 her calls come from rural highways and things like that.  
18 And I believe that in that area, we found basically 48  
19 percent of her calls at less than 70 feet. Now, this was an  
20 early generation GPS-type system. Next slide.

21 The other issue public safety had was, we couldn't  
22 solve this with just one handset, one technology. In the  
23 upper corner here, in the upper left corner, there are  
24 basically a description of the different handsets that we  
25 use in the trial. In the lower corner is the error

1 interfaces that we used during the trial. CDMA is  
2 disproportionately large for a couple of reasons. One was,  
3 it was for us, one of the easiest mediums to get data  
4 across. And two, GTE Wireless provided the support from  
5 their switch, so we do all of our routing on the GTE  
6 network. Next slide.

7           What's driving location technology? A funny thing  
8 happened on the way to the FCC. Commercial public safety  
9 rose to the surface. What I mean by that was, because we're  
10 in the call path, there are commercial type applications,  
11 road assistance, personal security, telematics, that we can  
12 transmit data on and enable today.

13           Commercial concierge type services, AVL, asset  
14 tracking, commercial applications view of the Internet,  
15 panic buttons, phone finders or family finders or so on. I  
16 think the important thing the FCC needs to know is that call  
17 centers and hosting infrastructure are being built today for  
18 this demand. There are a number of groups that are doing  
19 this. I can't discuss -- we'll hear later this summer, but  
20 this is coming to fruition and hopefully by the end of this  
21 year, you'll be able to get these kinds of services. Next  
22 slide.

23           We come into this trial, one of the questions  
24 we're asked is, what's the state of GPS technology? And  
25 you've heard from all the handset makers here ahead of us or

1 handset providers. One thing we found was GPS technology is  
2 evolving rapidly. We went into this trial and rephrased the  
3 product that we tested with and by the end of the trial, we  
4 found a marked improvement, 245 percent better with later  
5 versions of the Sirf Technology.

6 Commercial products, again, are months away. The  
7 commercial goal, as you heard from Kanwar, wireless coverage  
8 should be available wherever, or rather, locations should be  
9 available wherever the wireless coverage is available.  
10 Approach works, one other issue that wasn't talked on a lot  
11 about and that's the right to privacy. One of the issues is  
12 with any handset-based solution, you can shut it off. You  
13 can disable it like caller blocking.

14 Finally, I'd like to thank you for the opportunity  
15 to present this. IDC would like to be considered amongst  
16 the players in this public safety arena. We're here now and  
17 we're not going to go away. Thanks.

18 MR. HATFIELD: Thank you very much, and then, as I  
19 started to say before, we do have a few minutes, so I will  
20 start back at the right hand side and maybe about a minute  
21 for each, any final wrap up comments.

22 DR. HILSENATH: An hour worth of comments. It is  
23 primarily around the maturity. I think that we're looking -  
24 - it should be obvious after these presentations -- we're  
25 looking at two types of technologists around the table.

1 We're looking at one type of technologist to have a very  
2 simple and straightforward avenue of relocating. By that,  
3 we're looking at another technology, equally interesting,  
4 with a major launch issue out there, which is how to get  
5 this technology into the hands of tens of million  
6 subscribers. I think that it's quintessential to the  
7 discussion around the table here. Not only how innovative  
8 the technology is, but how simple is the vehicle of  
9 delivering it into a mass, horizontal, type of market.

10 MR. HATFIELD: Thank you. KSI?

11 MR. MALONEY: I provided my summary earlier. I'll  
12 just restate it. With the infrastructure approach, location  
13 technology is here today to do real time call routing and  
14 all requirements for all phones, those that exist and our in  
15 your hands right now and any that will occur in the future.

16 MR. HATFIELD: You probably should identify  
17 yourself for the record.

18 MR. KAHAN: Hi, my name is Dennis Kahan with  
19 SigmaOne. I'll say something that might sound out of  
20 context. I don't really think the issue is technology at  
21 all. Five years ago, the FCC had a wonderful idea to how  
22 you save lives and how you protect people from serious  
23 injury. They set a date of October, 2001.

24 That date for many reasons has slipped, and now  
25 the FCC is considering the possibility of letting it slip

1 more. There are 70 million handsets out there that don't  
2 have GPS capability or E-OTD capability. They can be  
3 located. You must create an environment in which all  
4 handsets will be located.

5 MR. STILP: Lou Stilp from TruePosition. I feel  
6 like I wouldn't be here if the question hadn't been raised  
7 over a year ago about whether handsets now can qualify for  
8 consideration under 94-102. I'm not sure if I misunderstood  
9 Mr. Bell about the test results that have been submitted  
10 into the record. I've spent a great deal of time going  
11 through test results that are in the record and I guess the  
12 things that concern me are there are more than 20 separate  
13 tests that are described in here, and not a single mention  
14 of what one looks like with an internal antenna.

15 And if that's an internal antenna, I guess I'm  
16 still going to keep this phone.

17 It is a very key question, because the sensitivity  
18 that network assisted provides is only 14 db and one of the  
19 test results that is described in here is that eight db of  
20 that is lost in going to internal antenna. There's a chart  
21 in here that shows an awful lot of data that simply isn't  
22 explained away. Yields below 60 percent, below 80 percent.  
23 As a matter of fact, almost a quarter of the test results  
24 had a yield of less than 80 percent. That means all these  
25 people weren't found or wouldn't have been found. And test

1 results that are way above 90 meters -- which is what's  
2 being offered here.

3 So I think we must consider carefully what exactly  
4 is being tested and whether those results have any bearing  
5 on reality when one talks about the handsets that people  
6 want to buy.

7 MR. HATFIELD: Mr. Bell?

8 MR. BELL: Gee, I think I just had to change my  
9 one minute here. Let me first say, I think the real issue  
10 here on GPS is how to commercialize it in the handsets. Our  
11 cost estimates that we're being told for first generation  
12 integrated implementations are in the \$7 to \$10 range. The  
13 incremental cost to the handset. That includes antenna,  
14 that includes licensing, and we're being told that will drop  
15 dramatically as law gets applied. These are standard  
16 processing elements.

17 And to that end, my last slide, which I ran out of  
18 time on, we have both equity partnerships and license  
19 agreements with Motorola and TI, who combined to provide a  
20 large majority of the global wireless components. And the  
21 real key here is that this is going to be put into those  
22 handsets so that it's available to everybody. It's being  
23 driven down and it will be included as a standard feature as  
24 handsets get deployed, going forward.

25 And then, finally, relative to the test results,

1 I'm not sure which public release of our test results are  
2 being referred to. We have release to the FCC and the  
3 document package it received last week. Great detail on our  
4 test results. Most of what's on the stack here, and we'd be  
5 glad to respond to questions from the FCC on those results.

6 MR. HATFIELD: Mr. Chadha?

7 MR. CHADHA: I think --

8 MR. HATFIELD: Could you identify yourself?

9 MR. CHADHA: Yes, my name is Kanwar Chadha from  
10 Sirf Technology. I think the question here is we are  
11 looking at that technology investment and infrastructure  
12 investment, looking five to ten years ahead and we have to  
13 look at what is the technology best for the future, not  
14 necessarily the technology best in the past.

15 I come from the computer industry and in the early  
16 80s, mainframes were a proven technology, and if we had  
17 invested more in them, I think the PC revolution would not  
18 have happened. Five years back, amps was a proven  
19 technology, and as the rest of the world has proven, going  
20 to digital in the long run was a much better choice. So I  
21 think we have to look at not necessarily where the  
22 technology is today, we have to look at where it's going to  
23 be five to ten years from now.

24 As SnapTrack as mentioned, they have aligned up  
25 with a number of semiconductor vendors. Sirf has aligned up



1 with Nokia and Ericsson, which are the major suppliers of  
2 digital handsets, at least. So I think in the future, the  
3 location technology is going to be part of the handsets, and  
4 the costs will be taken care of using the most -- we have to  
5 see what is the best technology for the future.

6 MS. FRASCO: I'm Beth Frasco from Aerial  
7 Communications. I'd just like to say that I think that the  
8 FCC had a very successful history of converting competitive  
9 and technological neutrality and I think that the same  
10 lessons apply here.

11 I think that as my colleague to my left mentioned,  
12 we need to be mindful of not only what the current capabilities  
13 are, but what the future capabilities are, as well. We're  
14 going to be making decisions here that are going to affect  
15 the industry for a long time to come. We're also leaders,  
16 when you look at the world wide stage on this particular  
17 technology. I'd like to see the FCC, notwithstanding all  
18 the comments that have been made here today, take a position  
19 that does encourage development in the positioning  
20 technologies and in the locationing site of our industry.  
21 And I think that allowing the maximum number of options to  
22 carriers will allow that, and, whether they be handset based  
23 or network based. And I think that the market and the  
24 capabilities and the technologies will be proven in good  
25 time. Thank you.