

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

PUBLIC MEETING  
BETWEEN U.S. NUCLEAR REGULATORY COMMISSION O350 PANEL  
AND FIRST ENERGY NUCLEAR OPERATING COMPANY  
OAK HARBOR, OHIO

---

Meeting held on Tuesday, April 15, 2003, at  
2:00 p.m. at the Camp Perry Clubhouse, Oak Harbor, Ohio,  
taken by me, Marie B. Fresch, Registered Merit Reporter,  
and Notary Public in and for the State of Ohio.

---

PANEL MEMBERS PRESENT:

U. S. NUCLEAR REGULATORY COMMISSION

- John "Jack" Grobe, Chair MC 0350 Panel
- William Ruland, Vice Chair MC 0350 Panel,  
Director of Directorate III NRR
- Christine Lipa, Projects Branch Chief
- Christopher Scott Thomas,  
Senior Resident Inspector  
U.S. NRC Office - Davis-Besse
- Jon Hopkins, Project Manager Davis-Besse
- Anthony Mendiola,  
Section Chief PDIII-2, NRR

FIRST ENERGY NUCLEAR OPERATING COMPANY

- Lew Myers, FENOC Chief Operating Officer
- Robert W. Schrauder,  
Director - Support Services
- J. Randel Fast, Plant Manager
- James J. Powers, III  
Director - Nuclear Engineering
- Michael J. Stevens,  
Director - Nuclear Maintenance
- L. William Pearce,  
Vice President FENOC Oversight
- Clark Price, Owner - Restart Action Plan

---

1 MS. LIPA: Good afternoon. I  
2 would like to welcome everybody, FirstEnergy, and members  
3 of the public to this public meeting.

4 Folks sitting at the back, if you have trouble  
5 hearing, feel free to come on down a little bit closer.

6 This is a public meeting between the NRC's  
7 Davis-Besse Oversight Panel and the FirstEnergy Nuclear  
8 Operating Company. I'm Christine Lipa. I am the Branch  
9 Chief in Region III, who has responsibility for the NRC  
10 Inspection Program out here at Davis-Besse.

11 So, we'll go to the first slide, which is the  
12 purposes of the meeting. And, the purposes of this meeting  
13 are to allow the Licensee to present the status of the  
14 activities in the Restart Plan; and, secondly, to discuss  
15 the NRC Oversight Panel activities, and we want to focus on  
16 activities that the NRC has been doing since the last  
17 public meeting.

18 The next slide shows our agenda. And, first off, I  
19 would like to make the introductions. I'll start down at  
20 my far left is Jon Hopkins, and he's the NRR Project  
21 Manager for the Davis-Besse facility.

22 Next to Jon is Tony Mendiola, and he's the Section  
23 Chief in Projects in Headquarters.

24 Next to Tony is Bill Ruland and he's a new panel  
25 member. He replaces Bill Dean, who has been promoted and

1 moved on to another assignment in Headquarters. So, Bill  
2 Ruland is a Senior Manager located in our Headquarters  
3 Office in Rockville, Maryland. He's the new Vice Chairman  
4 of the Oversight Panel. And, Bill's position is the  
5 Project Director for the Project Directorate PD-3 in NRR,  
6 which is all Region III plants.

7 Next to me is Jack Grobe, and he's Senior Manager in  
8 the Region III Office in Lisle, Illinois. And he's the  
9 Chairman of the Davis-Besse Oversight Panel.

10 On my right is Scott Thomas. He's the Senior  
11 Resident Inspector, and he's located here at the  
12 Davis-Besse facility.

13 Also, we have Doug Simpkins operating the power  
14 point today, and he's the Resident Inspector. Currently,  
15 filling the Resident Inspector role for us. Although he  
16 has been reassigned to be the Hatch Senior Resident and  
17 he'll be leaving for that in May.

18 We also had earlier greeting was Nancy Keller, our  
19 Office Assistant.

20 And, also we have two new NRC employees in the  
21 audience, Francis Ramirez and Carla Roke.

22 And, Lew, I would like to offer you the opportunity  
23 to introduce your folks.

24 MR. MYERS: Thank you.

25 Good afternoon. We have a couple people from our

1 FirstEnergy Corporate Office with us. Leila Vespoli is  
2 with us. She's our Senior Vice President, Corporate Legal  
3 Counsel.

4 And, Maria Riley is with us today. She's FENOC  
5 Corporate Legal Counsel.

6 To my left is Bill Pearce. We talked about him on  
7 the agenda last time, VP of Quality Oversight.

8 Randy Fast is to my right. He's our Plant Manager.

9 Mike Stevens is the Outage Director and Maintenance  
10 Director. He's next to him.

11 Clark Price is the Manager of the 350 Process and  
12 Manager of Services. And, Clark will be giving us some of  
13 the performance indicators today.

14 Jim Powers, next to him, is the Director of  
15 Engineering at our site.

16 And, Bob Schrauder, next to him, is Director of  
17 Support, at the end of the table.

18 MS. LIPA: Okay. Thank you,  
19 Lew.

20 I would also like to offer public officials or  
21 representatives of public officials to introduce  
22 themselves?

23 MR. ARNDT: Steve Arndt,  
24 Ottawa County Commissioner.

25 MR. PAPCUN: John Papcun,

1 Ottawa County Commissioner.

2 MR. KOEBEL: Carl Koebel,

3 Ottawa County Commissioner.

4 MS. LIPA: Okay, thank you.

5 Okay, this meeting is open to public observation,  
6 but I did want to remind everybody, this is a business  
7 meeting between the NRC and FirstEnergy. And at the  
8 conclusion of the business portion of the meeting, but  
9 before the meeting is adjourned, the NRC staff will be  
10 available to receive comments from members of the public  
11 and answer questions, and then we'll also be available  
12 after the meeting.

13 In the foyer on the way in today, there were copies  
14 of our April edition of our monthly newsletter. It looks  
15 like this. And copies of the slides, both the NRC slides  
16 and FirstEnergy slides are available.

17 And, one thing I wanted to point out about the NRC  
18 monthly newsletters, is on the back page there is a block  
19 that has some contact information for you and some  
20 reference information, for the phone numbers of our public  
21 affairs folks, and the email addresses and also the  
22 Davis-Besse Web page.

23 Another thing that we had in the foyer was the  
24 public meeting feedback forms. And we've been using these  
25 to shape our meetings since we started using those feedback

1 forms. So, any feedback that you have, you can provide  
2 it. It is important to us.

3 We're also having this meeting transcribed today by  
4 Marie Fresch, and that will maintain a record of the  
5 meeting. And transcription will be available on our Web  
6 page usually in about 3 to 4 weeks. It's important that  
7 the speakers use the microphones, so that the transcriber  
8 and the audience can hear.

9 So, the next slide is a summary of our March 11  
10 public meeting that was held here. We discussed the status  
11 of ongoing plant and NRC activities. The NRC staff  
12 discussed the status of several Restart Checklist items.

13 We describe the inspections that we've done and  
14 those that are upcoming regarding the Adequacy of Safety  
15 Significant Structure, Systems, and Components.

16 We also discussed the status of ongoing System  
17 Health Review Inspections, which is primarily focused in  
18 the engineering area.

19 We highlighted some inspection activities that  
20 remain to be completed, including the Normal Operating  
21 Pressure Test, the Containment Vessel Integrated Leak Rate  
22 Test, the inspection of the emergency sump, inspections of  
23 various Licensee programs, and the Adequacy of  
24 Organizational Effectiveness in Human Performance.

25 Also at last month's meeting, FirstEnergy provided

1 updates in several areas, and I'll just list those briefly  
2 here. First, there was a status of milestones from both a  
3 hardware and management perspective. Second, there was an  
4 update on the work in the Safety Culture and Safety  
5 Conscious Work Environment areas. Third, an update on work  
6 on some of the Building Blocks, such as Containment Health,  
7 Restart Actions, and Program Compliance. And fourth, there  
8 was discussion about the Return to Service Schedule.

9 So, the next slide -- and I did want to mention that  
10 these transcripts will be available on our web page. I  
11 know we have one out so far, and the other one will be up  
12 shortly.

13 The next slide are significant activities that the  
14 NRC has performed since that March 11th meeting. On April  
15 4, we held a meeting in Headquarters. I'll ask Tony  
16 Mendiola to summarize that meeting.

17 MR. MENDIOLA: Good  
18 afternoon. On Friday, April 4, FirstEnergy met with the  
19 NRC Headquarters staff personally and the NRC Regional  
20 staff via videotelephone to discuss some results of some  
21 Reactor Coolant Leakage Simulation Testing that was  
22 performed by one of their vendors.

23 The purpose of this testing, or if you will, the  
24 simulation, was to determine the, what was going to be seen  
25 at the, what could be seen by the instrumentation available

1 to FirstEnergy when they performed their Normal Operating  
2 Pressure Test here in the near future.

3 The concern was, after the degradation was found at  
4 Davis-Besse, there was some deposits found on the bottom  
5 side of the reactor vessel in the vicinity of the reactor  
6 vessel in-core monitoring instrumentation nozzles, which  
7 are on the bottom of the reactor.

8 And, they, FirstEnergy took samples and did some  
9 analysis of the samples. And, it was very inconclusive of  
10 the origin of these deposits, and raised enough questions  
11 that it was felt that they needed to do some testing to  
12 determine when the reactor was restored to power, that  
13 there would not be any, that these deposits weren't as a  
14 result of leakage from these bottom vessel nozzles.

15 In that, they asked their vendor, contractor,  
16 Framatone, to conduct testing at the Lynchburg facilities  
17 in Lynchburg, Virginia, to determine what was, what could  
18 be visibly seen by the equipment, which would be available  
19 at the conclusion of their Normal Operating Pressure  
20 Testing, and to make sure that they could see, if there was  
21 any leakage found.

22 Conversation with the staff discussed a lot of the  
23 testament, analogy, and some results, basically identifying  
24 what would be found at certain very, very small leak  
25 rates. And what would be found, of course, would be

1 deposits of Boron in the, in the sample area, or the  
2 leakage area.

3 Bottom line though, the conclusions came -- the  
4 contractor came to the conclusion, and FirstEnergy also  
5 came to the conclusion, that any reactor coolant leakage  
6 would be confidently, visually discernible by the equipment  
7 that would be used by the Licensee at the conclusion of the  
8 testing.

9 After that point, there was a discussion of the test  
10 itself, and the facility's inspection plan on how that test  
11 would be carried out and what samplings would be performed  
12 on any deposits that may be found, or if they were found in  
13 the bottom of the reactor vessel.

14 Additionally, there was additional information  
15 provided about the new Leakage Detection System to be  
16 placed in the reactor containment; basically, the FLUS  
17 System, which we've discussed in the past. And that was  
18 basically the meeting.

19 MS. LIPA: Okay, thank you,  
20 Tony.

21 Earlier today, we held a Public Exit at the  
22 Davis-Besse facility. I just wanted to mention what that  
23 was all about.

24 That was the preliminary findings and conclusion of  
25 a special inspection and a supplemental inspection to look

1 into utility's corrective actions for some white findings  
2 in the Radiation Protection Area. And, as a result of  
3 those two white findings associated with inadequate  
4 radiological controls during steam generator work last  
5 February, 2002, we performed a follow-up inspection to  
6 ensure that the root cause and contributing causes were  
7 understood. That they independently, that the utility  
8 independently assess the extended condition, and to ensure  
9 that the corrective actions were sufficient to address the  
10 root and contributing causes and to prevent recurrence.

11 And then we also, as a result of the Restart  
12 Checklist item that talks about the Radiation Protection  
13 Program, we also reviewed the scope, depth and quality of  
14 the Licensee's look at their very detailed review that they  
15 did of their Radiological Controls Program.

16 And, there were four inspectors involved in this  
17 inspection, and that report is scheduled to be out in 30  
18 days.

19 Also, a couple of other things on this slide are  
20 some recent NRC inspection activities that are either  
21 started or completed since then. On April 7th, we  
22 initiated an inspection that we call our Phase 3 of the  
23 Organizational Effectiveness and Human Performance  
24 Inspection.

25 On the NRC's inspection in this area is reviewing

1 the Licensee's Management and Human Performance Excellence  
2 Building Block, which is part of their Return to Service  
3 Plan. It's also an NRC Restart Checklist item. And this  
4 inspection is being performed by us in three phrases.

5 The first phase was an examination of the root  
6 causes. The second is an examination of corrective actions  
7 for those root causes to ensure that FirstEnergy has  
8 identified the appropriate corrective actions. And the  
9 third is an examination of the corrective actions once they  
10 are placed to assess their effectiveness prior to restart.

11 Phase one of that inspection is complete and that  
12 report has been issued. Phase two is mostly complete. And  
13 Phase three was begun on April 7th, with a team of industry  
14 and NRC experts in this area. And the third phase is  
15 expected to be conducted as Licensee activities are  
16 completed in the upcoming weeks. Right now we have that  
17 scheduled for May 9.

18 Couple of other items. On April 11, we completed  
19 two important inspections. The first one was on the newly  
20 modified emergency sump in the containment. This  
21 inspection reviewed the design and installation of new  
22 screens and the greatly expanded surface area on the sump.

23 The second inspection we just completed was the  
24 Integrated Leak Rate Test on the Containment Building. The  
25 NRC had inspectors review the test procedures, monitor the

1 test, and evaluate the results to ensure that it meets the  
2 leak tightness requirements.

3 Both of these reports are expected to be issued in  
4 May.

5 The next slide talks about some of the Restart  
6 Checklist items, the status of those. We have several  
7 Restart Checklist items that will be closed, and those will  
8 be documented in Inspection Report 0304, which is due out  
9 on April 30.

10 The next slide is some upcoming NRC activities. We  
11 have, we're making preparation for the under-vessel head  
12 inspection. Tony talked a little about the meeting we had  
13 at Headquarters on April 4th to talk about the approach for  
14 this Normal Operating Pressure Test.

15 We also are making preparation for our Fire  
16 Protection Inspection in April. The Restart Assessment  
17 Team Inspection will be coming as thing get closer to  
18 restart, but still before restart.

19 And then also we're working with the utility to plan  
20 two additional public meetings; one, to discuss Design  
21 Issues, and another one to discuss the Licensee's  
22 assessment of Safety Culture.

23 The next slide on continuing NRC activities. These  
24 are some inspections that have already started and continue  
25 to be ongoing. We have several inspectors looking at

1 System Health Reviews and Design Issues. We also have a  
2 separate group of inspectors looking at the Safety  
3 Significant Program Effectiveness. Several of these  
4 programs have been reviewed, but there are still a couple  
5 more that need to be reviewed.

6 Then the Corrective Action Team Inspection was  
7 started. And that would be continuing. And this  
8 inspection is a pretty important inspection in our minds.  
9 It's to review the effectiveness of corrective action  
10 process at Davis-Besse to ensure that it's being  
11 effectively implemented and appropriate corrective action  
12 is taken to prevent the occurrence of problems.

13 That team is also looking at several key issues for  
14 the panel to make their assessment of the implementation of  
15 the Licensee's Corrective Action Process. That team has  
16 eight people on it, four of those are contractors. This is  
17 an extensive inspection, which is scheduled to be completed  
18 in May.

19 And then also we have the ongoing Resident  
20 Inspector. They're here, both of them, on the site all the  
21 time, day-to-day operations, watching day-to-day  
22 activities, and they issue reports every six or seven  
23 weeks.

24 So, this is my summary of the NRC activities that  
25 have been ongoing. And with that, I'll turn it over to

1 FirstEnergy.

2 MR. MYERS: Thank you. We  
3 have on the agenda a few things that demonstrate some of  
4 the issues that we have and also continued progress that  
5 we've made.

6 First, we'll talk about the Operations area. Randy  
7 Fast will provide you some input on the upcoming Mode 4  
8 preparation, which is our next milestone.

9 Then, Bill Pearce will discuss the Operations  
10 leadership in our plant and the operability evaluations.  
11 And you requested that last month.

12 Bob Schrauder will discuss some of the emerging  
13 issues we have, specifically in the high head safety  
14 injection pump area.

15 One of the major milestones we just completed, we  
16 thought demonstrated a very good teamwork now, is the  
17 Integrated Leak Rate Test; and Jim Powers is going to brief  
18 you on that test. That's where we pressurized our  
19 containment building up to design specs and prove its  
20 leak-tight containment. So, Jim will discuss that.

21 Then finally, if you go look at the resolution of  
22 some of our significant issues, we'll provide you some, a  
23 list of those and some discussion there.

24 Then, in the Safety Culture area, what I thought we  
25 would do there, we provide our own Safety Culture

1 Assessment back in Mode 5, prior to going to Mode 5.

2 That's something we did internally using our process.

3 We also finished the, Sonja Haber report that we  
4 received this week. I'm going to brief you on some of the  
5 issues there, prior to the official public meeting of that,  
6 to give us some idea of the things we saw.

7 And if time permits, and we're moving over there,  
8 then Mike Stevens will talk about some of the upcoming  
9 milestones, the modification of the resources that there  
10 are in place to complete those activities.

11 Then Clark, as usual, will give you some of the  
12 Restart Action's planned performance indicators. That's  
13 our game plan today.

14 Randy.

15 MR. FAST: Thank you.

16 Good afternoon. Today, I would like to take a few  
17 moments to discuss our Operation's staff preparation for  
18 Mode 4, as well as some actions that we're taking for  
19 restart.

20 Actions that we've taken; we did an analysis, an  
21 evaluation of the plant staffing; that's in the nonlicensed  
22 reactor operator and senior reactor operator positions; and  
23 we find that we are appropriately staffed to continue safe  
24 operation. That was in part because we didn't complete our  
25 annual requalification of all of our licensed individuals;

1 that's reactor operators and senior reactor operators, the  
2 latter part of 2002 successfully. All candidates passed  
3 their annual requalification.

4 During this period of time, throughout last year and  
5 into this year, we continued our licensed operator  
6 requalification training program. And that's really  
7 serving us well in being able to get our staff, the crews  
8 back in the classroom. We have done a lot of Just-In-Time  
9 Training. This is a training that we don't traditionally  
10 do, things that I'll cover a little bit of it, but we've  
11 actually been able to roll out new procedures that I'll  
12 talk about a bit.

13 We also still have two reactor operator and senior  
14 reactor operator pipelines. So, that will assure that  
15 going forward, we'll have adequate resources.

16 We did use those resources to help us. In fact,  
17 I've gotten very favorable feedback from the folks that  
18 were in the class. Their willingness and really desire to  
19 come over and help the plant during this time. As a matter  
20 of fact, our mode, whole resolution team, which I'll talk  
21 about, consists of principally licensed operator  
22 candidates.

23 So, this, has been an experience where they've  
24 actually been able to contribute to the success of the  
25 plant and take an active role in some of the activities

1 that we have ongoing. They will be going back into the  
2 classroom the latter part of the second quarter. That's  
3 about the June timeframe, to go back into licensed  
4 training.

5 We have developed and have approved our procedures  
6 and are ready for the test plan. These are newly developed  
7 procedures that encompass things like post modification,  
8 post maintenance testing, and as well, our inspection plans  
9 at the various hold points during the escalation of the  
10 plant.

11 During this period of time we have used the  
12 Institute of Nuclear Power Operations using industry  
13 experts that come in each week; and taken a look at how  
14 we're doing in the Operations arena. And, we've actually  
15 had pretty good feedback. We have some areas for  
16 improvement, but we've also had validation on some of the  
17 actions that we've taken. So, that's been a valuable  
18 process to our operations in looking at the things that  
19 we're doing.

20 We did complete, as part of those that requal cycle,  
21 Safety Conscious Work Environment Training. Certainly,  
22 we've talked about it for all of our leadership, our  
23 supervisors, but as well, we took this as an opportunity to  
24 teach all our Operations staff, and that was received very  
25 favorably. So, even down to the nonlicensed operators, the

1 equipment operators, have been trained in Safety Conscious  
2 Work Environment.

3 We did have a self-initiated plan, really our shift  
4 managers, I want to make sure I give them credit. They got  
5 together and said, here's the kinds of things we need to be  
6 doing to improve our leadership and oversight and set  
7 Operations up as the leaders of the plant.

8 That Phase One Action Plan had 92 individual  
9 elements associated with it. 82 of the 92 have been  
10 completed. And then, we'll be moving from that on to a  
11 Phase Two, the next generation of Operations Leadership  
12 Plan initiatives.

13 We have taken the initiative to train our key  
14 staff. That's all of our senior reactor operators, but as  
15 well, many of our key station engineers and critical people  
16 from various organizations throughout the plant; chemistry,  
17 health physics; in what we call Operability Determination.  
18 As you're aware, it's under Generic Letter 9118, really  
19 understanding the regulatory processes for determining  
20 equipment operability and nonconforming conditions.

21 That was done, in fact, Jim Powers and myself were  
22 in that first class. Very interesting. Very enlightening,  
23 and it also had a side bar or a side benefit of really  
24 allowing our folks to come together and work as a team, as  
25 we would expect them to do under the conditions where we've

1 got conditions not as we expect. And we're using the  
2 guideline of Operability Determination to resolve issues.

3 MR. THOMAS: Randy, to what  
4 extent will your equipment operators be trained as far as  
5 Operability Determinations are concerned.

6 MR. FAST: Scott, we've taken  
7 no formal actions to train the nonlicensed operators in the  
8 Operability Determination; however, they are running point.  
9 And so, what we, really their view of the world is, they're  
10 out in the field monitoring plant conditions; and where  
11 plant conditions don't meet expectations, then we write a  
12 condition report, elevate that to the shift manager; and  
13 that's where you may get into a condition.

14 As an example, I'll give you a specific. So, we  
15 haven't trained them formally in the Generic Letter 9118  
16 criteria, but we have trained them that is the first  
17 threshold of identification. So, if they saw something  
18 like pump seal leakage, we want to elevate that to the  
19 appropriate levels in the organization to say, is that a  
20 nonconforming condition or does that render that piece of  
21 equipment inoperable.

22 So, there is, what I'll say is, awareness by the  
23 operations of the nonlicensed staff and their  
24 responsibility to identify issues, or problems.

25 Does that answer your question?

1 MR. THOMAS: Yes, somewhat.  
2 Same question with your ROs, not your SROs, but your ROs.

3 MR. FAST: Okay, the reactor  
4 operators did not, were not specifically targeted as part  
5 of the Generic Letter 9118 Operability Determination  
6 Training, but as well through the license requal, we have  
7 had discussions with our staff about the premise and the  
8 need to use that regulatory process for Operability  
9 Determination. So, they did not formally attend the  
10 two-day training for Operability Determination.

11 MR. THOMAS: So, I guess going  
12 forward, are there any plans to include them in that  
13 training or is that -- or some part of that training, maybe  
14 not the whole thing?

15 MR. FAST: The  
16 identification, and certainly what we're doing, we're  
17 folding back in Lessons Learned from the Operability  
18 Determination, so that we understand where we've done a  
19 good job and where there is areas for improvement. But,  
20 just from our own internal processes, as well as regulatory  
21 processes, our reactor operators do not make the call, so  
22 to speak. They're not the ones that actually sign off on  
23 Operability Determination. That is done by a senior  
24 licensed reactor operator.

25 MR. THOMAS: I understand that,

1 but I'm looking at it from an identification issue, or  
2 standpoint, you know. They're in the control room, they  
3 see the indications. I mean they would have -- I mean  
4 they're the front line of defense, I guess, if you will.  
5 So, if they were aware of the, I guess, complexities  
6 involved with the operability calls.

7 MR. MYERS: What we can do  
8 is, we can write a CR on this, and do a needs analysis for  
9 training, and determine what needs they need to have. We  
10 probably would not train them to the specific area that we  
11 would the shift manager, but apprise them of overall  
12 knowledge that we would look at in the training room.

13 MR. FAST: I'll take that  
14 action. We'll do, through our systematic approach to  
15 training, we'll do a needs analysis and determine if that's  
16 appropriate.

17 MR. THOMAS: Okay, thanks.

18 MR. FAST: Thanks, Scott.

19 Lastly, on this slide, we did implement new  
20 standards and expectations, and those have routinely been  
21 reviewed by industry experts as they look at our operating  
22 staff, and these standards meet or exceed industry best  
23 practices.

24 In fact, it's part of our turnover process, at each  
25 and every turnover, the operations crew used one of the

1 selected standards. And I went to Ops turnover yesterday;  
2 and we've actually driven that down to where our equipment  
3 operators are preselected to come in and be prepared to  
4 discuss an expectation or standard, and that generates crew  
5 discussion. That seems to be working well for us.

6 Next slide, please.

7 Okay, just to take a look at Mode 4 and Mode 3, the  
8 things that we have planned. There are really three  
9 specific plateaus for testing. The first is Reactor  
10 Coolant System pressure walkdown of 50 pounds per square  
11 inch gauge. That's a visual examination. All of these are  
12 done by a team approach, using Operations and qualified  
13 engineering staff to do the walkdowns.

14 Additionally, we have a test at 250 pounds. We'll  
15 call it Augmented Leakage Test for Reactor Coolant System  
16 Components. Those that had been, work had been conducted  
17 on those components, and we want to go verify their leakage  
18 condition at that intermediate pressure. And then when we  
19 get to full operating or normal operating pressure,  
20 conditionally, we'll do walkdowns of components for the  
21 Reactor Coolant System.

22 Next slide, please.

23 One of the big challenges is just the administration  
24 associated with closing mode hold restraints. And I have  
25 current data that's listed here. This principally is

1 compilation of issues required to be cleared or resolved  
2 prior to making the mode change. And those consist of  
3 condition reports, corrective actions, work orders,  
4 surveillances, which are license compliance tests to meet  
5 the regulatory requirements. And we're making steady  
6 progress towards Mode 4. And without going through some  
7 specifics, you see the rack up on this slide.

8 And, the last item is, as we get ready for going  
9 into routine, I'll call that routine operations, where  
10 we're pressurizing the plant, we'll start reactor coolant  
11 pumps, heat up the Reactor Coolant System. Operations  
12 staff is, certainly has not been operating the plant for  
13 quite sometime. And it's pretty much a normal industry  
14 practice that we would bring in external oversight, key  
15 individuals to be, monitor plant operations 24 hours a day,  
16 7 days a week, to provide real time feedback for our  
17 operating crews, to ensure that we're meeting our own  
18 expectations and industry standards of excellence.

19 That's really all I had from Operations Readiness.

20 Are there any questions?

21 With that, I'll turned it over to Bill Pearce.

22 MR. GROBE: Not quite. I was  
23 making sure nobody else had any questions before I asked  
24 mine.

25 MR. FAST: Yes, Jack.

1           MR. GROBE:           The Operations  
2 approach to restart, is a very, very important area in my  
3 view. And it's one that I would like to see on the agenda  
4 each month going forward.

5           There were a couple of items that you talked about  
6 that I had a couple of questions on. The Just-In-Time  
7 License Requalification Training, you emphasized that a  
8 little bit on your actions and preparations. Could you  
9 give a little bit more detail on specifically what topics  
10 you've been training on now; then as we approach next month  
11 and the month after, how you're expanding that and building  
12 on it for approaching each mode as you move forward.

13           MR. FAST:           Well, Jack, there  
14 is a whole number of actions and items that we've been  
15 doing. Let me be specific in telling you some of the  
16 activities that we've actually used our control room  
17 simulator.

18           The simulator is a real model of the plant. And  
19 we've gone through most of the evolutions of filling in  
20 reactor coolant system, starting the reactor coolant pumps,  
21 pressurizing the plant, heating up the plant, using the  
22 procedures that we've developed actually in the simulator.  
23 And that's given the crew the opportunity to practice plant  
24 operation before we actually conduct those evolutions.

25           Other training that we've had is the actual

1 classroom training associated with those procedures. So,  
2 typically, we would train in the classroom, go through a  
3 detailed discussion, and then the crew would go into the  
4 control room simulator and actually conduct those  
5 evolutions.

6 So, that's been one of the principle things that  
7 we've been able to do as part of licensed operator requal  
8 training.

9 MR. GROBE: Do you, are you  
10 accommodating this training in the normal requal cycle?

11 MR. FAST: Yes, we are,  
12 Jack.

13 MR. GROBE: And, how often  
14 does each crew rotate into a requal training week?

15 MR. FAST: Typically, we have  
16 six crew and they operate one week out of six. However, we  
17 have four, what we call, super crews. So, we've changed  
18 the periodicity a little bit, so we are on an abbreviated  
19 cycle. That's actually given us some more opportunity for  
20 training.

21 MR. GROBE: So, you're on a  
22 four crew rotation?

23 MR. FAST: Right, four crew  
24 rotation right now. And that has given us more of our  
25 folks available to support initiatives running through the

1 day shift.

2 MR. GROBE: Okay. As you  
3 approach major milestones, would you be doing additional  
4 Just-In-Time Training with crews that are actually going to  
5 be doing those evolutions?

6 MR. FAST: Yes, we will.

7 MR. GROBE: I think it would  
8 be useful to hear about your experiences in this area on a  
9 regular basis.

10 You've highlighted two areas where you're getting  
11 outside assessment; one is ~~IMPO~~ INPO and industry evaluations  
12 that are ongoing now, and the other is direct oversight of  
13 coaching or feedback of control operators. Would it be  
14 possible next month to get some details on feedback that  
15 you've received from these folks and opportunities that  
16 they've identified for continued growth?

17 MR. FAST: That would be  
18 great. I can give you some right now, if you want. I can  
19 give you a couple examples each of things we've seen that  
20 are working well for us, a couple items that we really need  
21 to improve in.

22 I'll start with a couple of areas for improvement.  
23 We've seen -- this is one of the these good/bad. On major  
24 evolutions, we've had good prejob briefs. I know Lew and  
25 myself and others as part of the staff have overseen some

1 of those briefs. At a higher level, more complex  
2 activities that had good briefs.

3 The shortfall though is more the routine day-to-day  
4 tasks, we've not done a good job of briefing that and  
5 setting standards and expectations. So, that's that mixed,  
6 got a lot of focus on prejob briefs, but at that routine  
7 level, we're not getting into the detail and challenging  
8 our equipment operators and reactor operators on what could  
9 go wrong, what are compensatory measures that we should be  
10 taking. So, that's an area of focus in getting a more  
11 broad spectrum of prejob briefing.

12 The other are, what I'll call, missed opportunities  
13 for coaching by our first line supervisors in the control  
14 room. That's the control room supervisor directly  
15 overseeing the licensed operator duties of the reactor  
16 operators, as well as equipment operators. And this is  
17 another one of these kind of good news/bad news stories.

18 The shift managers have received very good feedback  
19 about leadership and ownership and willingness to address  
20 issues with the plant staff. We need to drive that down  
21 lower into the organization. We need for our first line  
22 supervisors in the control room to be more comfortable in  
23 coaching opportunities with our plant staff.

24 So, those are, there is some of the, the highs and  
25 lows; and I have lots of other examples. But I think it's

1 important, particularly useful to us in that one of our  
2 industry peers comes in to make that observation, our staff  
3 is much more liable to accept that critical feedback, than  
4 if we provide it internally. We certainly provide it  
5 internally, but when an industry peer comes in and says,  
6 here's something we see, our Operations staff takes a  
7 notice of that.

8 And so, that's a good thing, I believe, really  
9 raising the standards for our staff.

10 MR. GROBE: Okay.

11 MR. MYERS: I'm able -- two  
12 of the Ops managers that were here; one of them, ops  
13 manager from ~~Mod~~ Mode three, that's pretty consistent with the  
14 message that I got also. They talked about routine  
15 evolutions, that we get ~~lacks~~ lax in communications, and also  
16 shift manager not comfortable coaching, I guess is the  
17 word, you know, in the field, and not getting in the field  
18 as much as they should. But they also compliment some of  
19 the standards of our shift managers as a whole, both people  
20 did. So, it's pretty good feedback from them --

21 MR. GROBE: Okay, good.

22 MR. MYERS: -- at this  
23 point.

24 MR. GROBE: You mentioned  
25 that the standards and expectations meet NRC's best

1 practices, and that you're encouraging feedback in team  
2 discussions during each shift turnover. Would it be your  
3 expectation then that some of these areas; communication  
4 during more routine evolutions, these are areas that you  
5 expect to see discussed during these shift turnovers.

6 MR. FAST: That is correct.  
7 Those are in the standards and expectations that are  
8 routinely discussed, so we use that as a platform to define  
9 our expectations.

10 MR. GROBE: Okay, good. The  
11 operability and determination training, when was that  
12 completed?

13 MR. FAST: It went for  
14 several, I think six weeks. So, there was a group that ran  
15 two days, for six weeks running; and it was completed  
16 about, I want to say about two months ago.

17 MR. GROBE: Okay, great.  
18 Thank you.

19 On slide five, you indicated several walkdowns of  
20 the Reactor Coolant System. The first one with 50 pounds  
21 per square inch gauge, that would be done at Mode 4; is  
22 that correct?

23 MR. FAST: That is correct.

24 MR. GROBE: And the other two  
25 at 250 pounds per square inch gauge and normal operating

1 pressure, those would be at Mode 3?

2 MR. FAST: 250 pounds could  
3 be done at Mode 4.

4 MR. GROBE: That's still Mode  
5 4, okay.

6 MR. FAST: Yes. And we could  
7 actually do the 50 pound in our current mode. What we do  
8 is pressurize the plant using nitrogen. So, we're in a  
9 transition point, but we actually have that capability to  
10 pressurize the plant with nitrogen and perform that leak  
11 evaluation.

12 MR. GROBE: Is that what  
13 you're planning on doing?

14 MR. FAST: That will be the  
15 first step, yes.

16 MR. GROBE: Okay, good. When  
17 do you plan on doing that?

18 MR. FAST: Well, Mode 4 is  
19 currently targeted for the mid part of May.

20 MR. GROBE: I'm sorry, I  
21 misunderstood.

22 MR. FAST: I was going to  
23 back up from that.

24 MR. GROBE: Okay.

25 MR. FAST: So the activities

1 we're currently working toward is the full system  
2 restoration of the Reactor Coolant System. And so, Jack,  
3 it's about two weeks away. I don't have the specifics,  
4 unless, Mike, do you have something?

5 MR. STEVENS: I can get the  
6 specifics for that. Randy is right, it's about two weeks  
7 away.

8 MR. GROBE: About two weeks  
9 is fine.

10 MR. STEVENS: We're working  
11 through air-operated valve work currently, and Jim is going  
12 to talk about that.

13 MR. GROBE: Okay, very good.

14 MR. MYERS: One of the things,  
15 Jack, if you ever look at pressure temperature curves here,  
16 it's not desirable to get into Mode 3 and sit there,  
17 because the demand is very -- Mode 4, sit there in between  
18 Mode 4 and 3, so once you get to Mode 4, you want to  
19 continue to go up, because it's only like a 30 pound band  
20 in there. It's not comfortable operation time. So, the  
21 idea is we would not do that until right before Mode 4.

22 MR. GROBE: Okay. I have one  
23 additional question. It has to do with the weekly  
24 indicator that you folks sent us, and it is tracking  
25 modifications for restart.

1 I noticed over the last two weeks, that that  
2 indicator has gone up some 20 modifications.

3 MR. MYERS: 30.

4 MR. GROBE: 30. Thank you.

5 That was a surprise to me, to see that number going up.

6 And I was wondering if you could comment on that and give  
7 me an indication of how many of those modifications are  
8 Mode 4 restraints.

9 MR. STEVENS: Well, I don't know

10 how many of them are Mode 4. That number of modifications  
11 includes set point changes, anything that has to do with an  
12 engineering change request.

13 MR. GROBE: Sure.

14 MR. STEVENS: And we're

15 currently going through some part obsolescence issues as  
16 well as making modifications to the plant.

17 I can tell you there is 433 work orders. And in  
18 those 433 work orders, are the modifications to take us to  
19 Mode 4. And, I don't have the exact number here.

20 MR. MYERS: Jim, do you have  
21 that with you?

22 MR. POWERS: No, I don't have

23 the exact number either, but while we're going through  
24 corrective actions, as we finish our condition report  
25 evaluations and corrective actions that are related to

1 modifications, that they were reviewed by the Restart  
2 Review Board and categorized as restart as appropriate and  
3 added to the schedule. So, we are preparing schedules that  
4 support the field work with modifications now, and we'll  
5 have to get you the precise number of those, Jack, to sort  
6 out which ones are Mode 4 restart group.

7 MR. MYERS: I looked at that  
8 just the other day. Just a handful of most of the mods  
9 work as we come back down, then we have all the mods for  
10 diesel, the air dryers. There is some relay work that we  
11 have to get done before Mode 4 to make the mode change.  
12 But if you go look at the total of those mods, there is not  
13 many of them associated with Mode 4 change.

14 MR. GROBE: That's  
15 interesting. Scott and I will have to get into some more  
16 detail on that. It just surprised me at this point in time  
17 to see the number of modifications going up. I recognize  
18 some of those might be simple, but any modification is a  
19 bit more complex than a routine corrective work order.

20 And the source of those, I think you said, Jim, was  
21 corrective actions from those Condition Reports that are  
22 just now being evaluated?

23 MR. POWERS: Right. As you, as  
24 we've talked about in the past meeting our performance  
25 indicators on the wall, back on the audience, we have been

1 working through Condition Report evaluations. And once a  
2 problem is identified, then the engineers, and other people  
3 at the plant, evaluate a problem; and if a resolution is  
4 indicated as a modification required, we perform the  
5 modification.

6 We are finishing off all those Condition Reports  
7 now. Some of the more complex ones are ones that still  
8 remain to be done, as we finish off the last small groups  
9 of them. So, some are a little more complex problems are  
10 being resolved, detailing modifications.

11 MR. MYERS: When we went into  
12 this outage, we did not have what I would call a robust ~~AOV~~ AOV  
13 program. And we looked at how many valves, Jim?

14 MR. POWERS: We looked at a  
15 total of 83 valves, air-operated valves in the plant. And  
16 we created a program to better design their design basis  
17 and provide analysis, calculations that have demonstrated  
18 their margin of safety, margin of capability. Out of those  
19 83, there were six valves that needed to have field  
20 adjustments done, and twelve valves that needed to have  
21 some modification done to them; things as small as a spring  
22 change, but then as large in the case of one valve, makeup  
23 ~~free problem~~ three bravo valve, change in the actuator and the valve  
24 body itself. So, we have twelve modifications that came  
25 out, relatively recently, probably within the past month

1 that we've been engineering those.

2 MR. MYERS: Realize, those  
3 12, they're in Mode 4, okay, you know, those kind of  
4 things. And it's make up -- is the long lead time on  
5 those. All those are in the schedule for Mode 4.

6 MR. GROBE: Okay, very good,  
7 thank you.

8

9 MR. PEARCE: Thank you, Jack.

10 What I'm going to talk about is the Quality  
11 Assurance Group's view of Operations. And, the operational  
12 activities that we've looked at are water level control,  
13 fuel load, specifically the SRO duties and the Operations  
14 interface with fuel load, maintenance support, which is a  
15 clearance, is all the support work that Operations does for  
16 maintenance activities, and the Integrated Leak Rate Test.  
17 And that, was a fairly complex evolution, and I'll talk  
18 some about that later.

19 First of all, on the shift turnovers, we think there  
20 is a good solid turnover process in place and being  
21 utilized, and that there is consistent focus by the  
22 Operations group on standards and expectations during these  
23 turnovers. That's, of course, what Randy said, it's going  
24 to have some redundancy to what Randy said.

25 One of the things we thought that was good with,

1 demonstrated some operations leadership in this area was  
2 the shift manager went to the work management turnover, and  
3 didn't get enough detail, he thought, to do an adequate job  
4 of informing his shift of what was going to go on in the  
5 next shift. So, he insisted that they go into more detail  
6 on all the turnovers and the work management area, so they  
7 could get the proper amount of detail.

8 He got some push-back on that, but he sustained his  
9 position and was able to get a change in the ongoing  
10 process, so that he got the right amount of detail out of  
11 that. And, we saw that as a good thing.

12 Under the area of clearance activities; you know,  
13 what we're doing now is mostly a maintenance support  
14 function in Operations, but they are hanging a lot of  
15 clearances, removing a lot of clearances. It takes  
16 attention to detail, following the clearance process,  
17 making sure we get the right thing done every time.

18 We have seen a few minor instances where we didn't  
19 get things done properly, but in the majority, vast  
20 majority of incidences, they did a very good job of hanging  
21 the clearances, maintain the proper control, removing the  
22 clearances and making a safe place for people to work.

23 Under standards and expectations, I talked about  
24 that earlier under shift turnovers. The new Operations  
25 standards are discussed daily. It's like I said, turnover

1 process, they go through them, Randy talked about that.  
2 The supervisors reinforce the standards frequently. And  
3 it's our view that the operators seem to be adapting the  
4 new standards.

5 Now, we do see lapse in three-way communication  
6 sometimes, and some minor instances like that, but in  
7 general, we think there is a good set of new standards in  
8 place, and, and Operations is striving to do those very  
9 consistent.

10 Another example in that area of standards and  
11 expectations, there were 403 Condition Reports written in  
12 the first quarter by the Operations Department. Give you  
13 some idea that they're focused. Even though the plant is  
14 not operating, they're out there focused on the details of  
15 the plant.

16 Some examples of conservative decisions and  
17 Operations leadership. Early this year, Ops was the  
18 station leader. In fact, Randy Fast represented them in  
19 that area. They wanted to have two decay heat pumps  
20 available for core load, even though the tech specs only  
21 required one at the time. And they sustained their  
22 position there. Randy supported them in that. And I  
23 thought that was a good thing. They were the ones that  
24 actually brought that forward.

25 During the reduced inventory operations that we

1 watched, they prohibited water transfers in the auxiliary  
2 building, because they knew their reduced inventory and  
3 they didn't want to do any evolutions that might risk that  
4 inventory; and we thought that was a conservative  
5 decision.

6 Ops, and this was not too long ago, Ops generated a  
7 Condition Report to perform a collective significance  
8 review of emergency diesel generator reliability. There  
9 has been a lot of small individual things with the diesel,  
10 and they wanted to look at it from a collective  
11 significance perspective; and they got that done. And we  
12 thought that was good.

13 And the procedure here, one of the things that we  
14 witnessed recently was the Integrated Leak Rate Test. It  
15 is a complex test, a lot of valve lineups, and each one of  
16 them has to be done correctly so that you don't get leakage  
17 through there as you pressurize the entire containment  
18 vessel.

19 The procedures were followed well. Complex set of  
20 operations were done. And they did accomplish the required  
21 configuration control. And I think we're going to talk a  
22 little later about the success of the Integrated Leak Rate  
23 Test. Well, they had a big piece of that, and they did a  
24 very professional job of accomplishing that.

25 MR. THOMAS: Outside of Ops,

1 what's your assessment of procedure usage within the other  
2 departments, engineering maintenance, or are you prepared  
3 to talk about that?

4 MR. PEARCE: Well, I think in  
5 the work order process, Scott, it would be my opinion, is  
6 where I think we're the weakest still; as we get into work  
7 orders and our adherence to the specific requirements in  
8 the work orders. And those are a maintenance procedure, so  
9 to speak.

10 And that, we put a lot of focus in that area, both  
11 in the Construction Department and the Maintenance  
12 Department out of the Quality Assurance Department, and  
13 we've seen some issues. In fact, the feedwater heater that  
14 we struggled with there for awhile, a lot of that, in my  
15 opinion, was driven by the lack of adherence to the  
16 process.

17 So, we tried to intervene and get some attention on  
18 those things, and we're still seeing instances of those.

19 MR. MYERS: Feedwater heater  
20 was a problem.

21 MR. PEARCE: Right. We didn't  
22 hold the right temperature, didn't get the right weld, had  
23 to grind them back out again; things like that. Those are  
24 some examples of where we've seen not so good procedure  
25 here.

1 MR. THOMAS: What have you done  
2 to prevent that from recurring in the future?

3 MR. STEVENS: I can answer  
4 that. We took the crew that was working on the feedwater  
5 heaters, and sat them down with the maintenance folks at  
6 the station and interviewed them, and then put them back to  
7 work and did some observations.

8 And, what we found was, some of these folks, even  
9 though they went through the training at the plant, and  
10 specific, specifically to our administrative procedures,  
11 they didn't fully understand how to work at the facility  
12 and use the work order and what the expectation was.

13 We stopped the job. We set up training. We used  
14 our SAT Process for Systematic Approach to Training. Did a  
15 needs analysis, and involved the Maintenance Services  
16 Superintendent to ensure the training was adequate. I  
17 involved the Safety Department.

18 Because it was more than just in the welding  
19 procedure, we found that they didn't understand fully our  
20 compliance base procedure. They were trying to read it and  
21 understand it, but they didn't understand some of the  
22 terminology.

23 And through training, we've improved performance of  
24 that group. Put them back to work, after face-to-face  
25 discussions. And then I used our Quality Control

1 Organization to periodically go out, through hole points  
2 and without ~~hole~~ hold points, just to show up at my request, and  
3 do some on-the-spot inspections.

4 When we came to nondestructive examination of the  
5 feedwater heater, I had our qualified nondestructive  
6 personnel go out and take a look at how we were performing  
7 that. We found in that instance, where the nondestructive  
8 examiner for the vendor wasn't complying with his own  
9 procedure. And we challenged him on that, and ended up  
10 reaching a resolution and rewriting his procedure.  
11 Actually, we used our procedure to finish out the  
12 nondestructive examination.

13 MR. PEARCE: Okay, and --

14 MR. GROBE: Bill, if I could,  
15 just one more question for Mike.

16 MR. PEARCE: Go ahead.

17 MR. GROBE: The feedwater  
18 heater welding issue is somewhat self-revealing as you went  
19 to do some testing. Is there some reason that this  
20 training effectiveness question was isolated to that group,  
21 or are there other groups of maintenance folks out there  
22 that are using the same procedures and went through the  
23 same training?

24 MR. MYERS: These are  
25 contractors, Jack.

1 MR. GROBE: Yeah, I know.

2 MR. STEVENS: We took a look at  
3 that, and interviewed our nonnuclear plant services folks.  
4 Did some observations on some of the field work they were  
5 performing, and we didn't see the same thing, as far as  
6 procedure and work package usage. However, what we did  
7 find was the quality of the work package was not up to  
8 standard. In other words, it was hard to follow the work  
9 package as we were making some of the modifications to the  
10 containment air coolers.

11 So, what we did was sat down with maintenance  
12 managers, put together a multi-group team, if you will. We  
13 had Operations, some Engineering and some of the  
14 Maintenance folks, sit down and categorize the types of  
15 problems we were having, roll them all together and take a  
16 look at where the performance shortcomings were.

17 And the actions we're putting in place, let me share  
18 with you some of the things we saw there. Primarily, it  
19 was focused in the Mechanical Department some performance  
20 issues, but it wasn't only the Mechanical Department. It  
21 was some minor issues in some of the other departments as  
22 well.

23 But the primary cause was lack of preparation, as  
24 we're trying to get work ready and get it into the field,  
25 we're not able to do Just-In-Time Training on some of the

1 activities we're less proficient at. In performance, like  
2 reactor pump seals, and we identified that as a potential  
3 cause. It had the most weight, about 60 to 70 percent of  
4 the problem.

5 The next was, we didn't have adequate supervisory  
6 involvement. What I mean by that, we had supervisors  
7 sporadically observing and involved with the field  
8 activities, not strategically; at the critical point in  
9 time, the supervisor is there providing the oversight to  
10 make sure the work activities are performed correctly.

11 We also, the next one, that was the quality of our  
12 work documents. As we went through planning work orders,  
13 we'd get them to the field, what we found were some of the  
14 work packages weren't being returned to the planning to be  
15 revised. What was happening was, we were issuing  
16 supplement work orders to the work already existed in the  
17 field, and that make two work documents you have to work  
18 together with. And it was, we found that to be confusing  
19 to the workers and the supervisors in trying to manage it.

20 And those are some of the things we found, the  
21 actions were put in place, and have taken some action in  
22 four major areas; organize, clarify, monitor and control.  
23 We put our maintenance organization back together, and we  
24 were spread out a little bit as we tried to do all these  
25 activities and get the schedule ready. We used some of our

1 more talented folks in some key areas, and I think we saw a  
2 result of their lack of involvement in maintenance, and it  
3 showed up in some work performance issues.

4 We got them back in, in the departments, and that  
5 settled things down. We're clarifying rules and  
6 responsibilities.

7 Am I giving you enough?

8 MR. GROBE: Yes, thank you  
9 very much.

10 MR. THOMAS: Let me just  
11 clarify, so I make sure I understand what you, I understand  
12 what you just said. That it's not just limited to work  
13 that's primarily done by contractors. That there are some  
14 issues with the craft at Davis-Besse as well in the  
15 maintenance area that still need resolution.

16 MR. STEVENS: That's right.

17 MR. PEARCE: We don't disagree  
18 with that. In fact, let me tell you something that we are  
19 doing in that bigger picture regard, is we're moving the,  
20 the QC Organization back under Quality Assurance. And Lew  
21 and I have agreed to do that. He just signed a letter here  
22 the other day, and we'll be doing that over the next week  
23 or so.

24 And what we're trying to accomplish there, Scott, is  
25 exactly, I think what you're talking about, is we want to

1 get more field time with the people that we have, and not  
2 have them -- make them more independent and less tied to  
3 the work organization. Elevate, simply elevate the  
4 standards some, and give some help to Mike and his group.  
5 You know, give him some feedback on how we're doing in that  
6 area.

7 So, we're moving toward that presently. In fact,  
8 we're going to do it at all three sites, because of our  
9 experience here, it's a better thing to do.

10 Okay, in the area of operability determinations, as  
11 Randy said, the operators were trained on 9118. Steve  
12 Loehlein actually attended the training on that with them,  
13 one session of it, to see what, our view of it was. And we  
14 thought it was a very good training. And, I think that the  
15 Operations guys, a few that I talked to about it, seemed to  
16 get a lot out of it, they really enjoyed that perspective.

17 In the area of Operability Determinations, last year  
18 in QA we had a concern about the operators documenting the  
19 logic for how they made operability calls based on  
20 determination from engineering, or evaluation from  
21 engineering. And we've seen an improvement over the past  
22 few months in the log books and the entries and how they're  
23 documenting their logic for making what calls they're  
24 making.

25 We still see periodically something that doesn't

1 seem as good as we would like there, but we get feedback on  
2 it, and, but we've definitely seen some improvement there.

3 In conclusion, I guess what I would say, Ops has  
4 performed adequately for the functions we have watched  
5 them. We're anxious to see the Mode 3 and 4 operational  
6 activity. We're going to provide independent 24-hour,  
7 7-day-a-week coverage of that activity in Operations, so we  
8 can get some good insight on how we're doing for these  
9 improvements that they've been trying to make. And, we've  
10 seen some improvement in the area of Operability  
11 Determination and how they've documented their logic.

12 That's it for me.

13 MR. GROBE: I just had two  
14 questions, Bill. You talked about conservative  
15 decision-making, and one of the examples was a decision on  
16 water transfers during reduced inventory, and that's an  
17 excellent example. I was just curious if that occurred in  
18 the planning stage or that occurred in the control room?

19 MR. PEARCE: It actually  
20 occurred in the control room. And, they did talk about it  
21 in the planning, but where they actually put it in place  
22 was in their control room activities. And it was a  
23 contingency issue. In fact, several of the things that  
24 they've done, I think they had pretty good contingency  
25 plans.

1 That's one of the things, when Randy talked about  
2 the prejob briefs, I think they've done a pretty good job  
3 of putting, getting the expected conditions well  
4 communicated among the shift organization, and making sure  
5 that complies to the plans as things varied, and I have  
6 some examples in our review of that area.

7 MR. GROBE: I think that's  
8 excellent that the shift, the control room shift made that  
9 decision. But I was just curious, is that something that  
10 you would want to see moved out into the planning area,  
11 where the shift wouldn't be challenged with that kind of  
12 decision?

13 MR. PEARCE: Well, yeah, no  
14 question about that. I mean, we would like to standardize  
15 that. I don't, none of the Operations guys -- well, Mike  
16 is here, but I don't know if that has been standardized. I  
17 can find out.

18 MR. GROBE: Okay. And,  
19 regarding Operability Determinations, I think it was just a  
20 week or two ago, Scott identified an issue involving the  
21 low pressure injection pumps, which also serve the function  
22 in Mode 5 as decay heat pumps. This had to do with the  
23 ~~eyele~~ cyclone and separator.

24 There was an issue that appears to only have been a  
25 documentation issue there. It's not apparent that the

1 operators concluded in their operability evaluation that  
2 the decay heat pumps were operable for the mode that they  
3 were currently in and that they were only talking about a  
4 future mode. Is this consistent with the kind of things  
5 that you've been seeing as far as documentation problems?

6 MR. PEARCE: Yes. In fact,  
7 that's the kind of things we have been working on to get  
8 some improvement, making sure they get that done well. And  
9 it's really important. You know, they know why. The guy  
10 that makes that, knows why they come to that conclusion.  
11 But for the rest of us, and for the oncoming shifts and  
12 all, they need to understand that, because if there is some  
13 departure from those conditions, then they need to  
14 understand what the basis of the decision was.

15 MR. GROBE: Okay.

16 MR. PEARCE: Yes, we do see  
17 that periodically, Jack.

18 MR. GROBE: Okay. Was this  
19 part of the training? I realize concept 9118 Operability  
20 Evaluation is a fairly broad area, but was this  
21 documentation issue part of the training that they  
22 received?

23 MR. STEVENS: Yes, it was.

24 MR. GROBE: So, that's just a  
25 matter of reinforcement?

1           MR. FAST:           Not the log books,  
2 but the process of documenting the rationale.

3           MR. GROBE:           Okay. So, it's  
4 just a reinforcement issue of examples to make sure that  
5 expectations are reinforced?

6           MR. PEARCE:           Right.

7           MR. SCHRAUDER:       Okay, thank you.

8           I'm going to talk about a few of the design issues,  
9 relatively important design issues that we are facing.  
10 First one I would like to talk about is the high pressure  
11 injection pump. This is I believe a new issue since we  
12 last met, came out of some of our Condition Report  
13 evaluations and resolution.

14          What we found is that very fine debris that would  
15 make its way to the sump in the event of an accident could  
16 result in damage to the high pressure injection pumps  
17 during the recirculation mode.

18          Now, our sump strainer has about, has 3/16 inch  
19 openings that allow the water to get into sump to the  
20 injection for these pumps, the suction to them.

21          There are two concerns with the high pressure  
22 injection pump. One is what's called the hydrostatic  
23 bearing, which is a bearing internal to the pump or in the  
24 pump that supports the shaft during its rotation. And the,  
25 this is a water supported cool bearing. And the ports that

1 supply water to that bearing have a 1/10 inch opening that  
2 goes to it. So, if there is a 3/16 inch opening in the  
3 sump that goes to the suction, there is a potential that  
4 you could clog the inlets for the hydrostatic bearing, and  
5 therefore cause the pump problems and potentially failure.

6 The other pump, just other internal clearances  
7 within the pump itself, bearings and the like, these pumps  
8 have a natural harmonic frequency to them. If you open up  
9 the clearance by way of debris getting in and causing some  
10 of the clearances to open up, you can cause certain  
11 rotodynamics that will oppose the natural frequency of the  
12 pump and cause the pump some problems in that regard also.

13 Listed here, the resolution options that we looked  
14 at for that. We looked at providing some additional  
15 filtration, whether that be finer mesh on the sump screen  
16 itself, or whether we put in a subsequent filter for the  
17 high pressure injection pump. That would be basically a  
18 backwash filtration system that would be able to backwash  
19 itself and send the potential debris back into the  
20 containment to the sump.

21 We looked at modifying our existing pumps. Testing  
22 our existing pumps under the conditions that they would see  
23 or some combination of those two. And finally we looked at  
24 replacing those pumps.

25 The path that we are on currently is to replace the