

1 what we -- was in our licensing basis for
2 criteria, we also had data on the safety-related
3 loads that are supplied by the diesel generator,
4 such as motor-rated valves, an important one, we
5 receive specified times to actuate the cycle to
6 the safe position. And we have -- during our test
7 we time those actuations to make sure they meet
8 the criteria. What we found in each case that
9 there was margin, the criteria is such that they
10 were acceptable.

11 And the model that Bob described
12 that MPR prepared that was done for testing at the
13 site and benchmarked the model and use that model
14 to predict the full accident conditions on the
15 system, what would be the results. So we took
16 that full accident condition, looked at the
17 results we got in the margins that we had in the
18 equipment, and found it was acceptable. And we
19 have a calculation that details that evaluation
20 out for us at the site, and I can give you the
21 specific numbers on the weekly call.

22 MR. PASSEHL: Okay

1 MS. LIPA: The question I wanted to follow
2 up, so your plan for resolution is analysis and no
3 hardware changes?

4 MR. POWERS: That's right.

5 MR. GROBE: Will that include a ~~division~~ revision to
6 the F.S.A.R.?

7 MR. POWERS: Yes, we need to.

8 MR. SCHRAUDER: The F.S.A.R., the statement
9 will not describe accurately the cause for the
10 frequency drop also, and that needs to be
11 corrected.

12 MR. PASSEHL: Then would you translate that
13 into in your procedures for the diesel to allow
14 for these fluctuations?

15 MR. POWERS: When we revise our F.S.A.R. we
16 will have to go through the formal process to do
17 that. Through the process that will revise then
18 licensing basis and the acceptance criteria and
19 procedures involved.

20 MR. SCHRAUDER: There probably will be no
21 procedure change. This was the same period of
22 time, just what happens to it when it does start,

1 so I would not anticipate a procedural change as a
2 result of that.

3 MR. POWERS: And I guess a fine point on
4 that study was that the surveillance instruction,
5 the acceptance criteria did not include these
6 particular parameters. In other words, they
7 weren't tech spec transfers that were part of the
8 surveillance. However, they were noted as being
9 outside the licensing basis and had conformance
10 needed to resolve.

11 MR. GARDNER: Did you conduct tests and
12 analysis on both details and compare them to each
13 other to see if they are the same type, I believe,
14 in manufacturer, and roughly the same age to see
15 if they are responding in the same manner, or was
16 there a difference between the two?

17 MR. POWERS: I believe the answer to that is
18 yes, but I don't have specifics on whether there
19 was any -- what difference there would be.

20 MR. GARDNER: And whether or not the data
21 that you are obtaining, it fairly well correlates
22 to other utilities that have similar diesels of

1 the same vintage and type?

2 MR. POWERS: We didn't do the same vintage
3 and type. However, we know our Beaver Valley unit
4 has an exception from the voltage criteria in
5 terms of the dip is somewhat below 75 percent
6 criteria, and that is written in the license
7 basis, so it was recognized at that site earlier
8 on, so it's not unusual from our standing in the
9 industry to have the sort of circumstances as long
10 as technically it's addressed and it's acceptable

11 MR. GARDNER: I guess I was on the frequency
12 more than the voltage.

13 MR. POWERS: I'd have to check on that one.

14 MR. GARDNER: Just curious.

15 MR. FARBER: Did you examine or try to
16 determine whether there was a relatively straight
17 forward hardware modification that would resolve
18 this and ensure that the diesels don't have this
19 unacceptable dip rather than pursue merely
20 analytical --

21 MR. POWERS: Yeah. That's a good point.
22 One of the things we are looking at for the longer

1 term is an electronic governor. An electronic
2 governor may give us a faster engine response and
3 minimize the dips. We are also looking at
4 potential for the breaker closure time, and
5 permissives on diesel generator. Output breaker
6 closure currently closes very early on in the
7 start-up sequence before the engine has reached
8 full rated conditions, both in the voltage and
9 frequency, and as a result that's changed during
10 transient to keep above the limits. So we put an
11 -- we put a permissive on that breaker on
12 frequency, for example, I think the breaker closes
13 in at about 57 rather than 60, so if we put a
14 permissive, it could help resolve as well.

15 So there is a couple of things we
16 can do in the longer term. The electronic
17 governor is something we are very interested in.
18 We have done that modification at Beaver Valley.
19 It upgrades units to the latest technology, and
20 something I'd like to do in the future for the
21 engines.

22 MR. GROBE: There is two potential licensing

1 basis provisions you have identified so far, one
2 for boron precipitation and one on the diesel
3 under frequency and under voltage. Do you
4 anticipated either of those requiring agency
5 review?

6 MR. SCHRAUDER: I would not anticipate that
7 we would necessarily need to have the boron
8 precipitation one completed by restart. That
9 system will be demonstrated to be able to do that.
10 In the longer term we may want to change the
11 secondary method to the modification that we put
12 in, but we would still meet the license basis in
13 that. This other one may or may not require, you
14 know, licensing action, I'd have to go through the
15 5059 process. You'd have to determine whether, in
16 fact, it required a license amendment. My sense
17 is that it probably will not.

18 MR. GROBE: Just be sensitive to the fact
19 that that takes a little bit of time.

20 MR. SCHRAUDER: Yes, sir.

21 The other issue identified on the
22 system remaining that we talked about already is

1 the room temperature was questioned, it may exceed
2 maximum analyzed value. The new analysis
3 demonstrating past operability has been performed,
4 it is in the review cycle to be approved,
5 demonstrated the maximum temperature that the room
6 would see, the equipment of the room would have
7 tolerated that temperature.

8 However, this is -- as we said
9 before, we are installing additional ventilation
10 in that room, and that modification will provide
11 us with more margin on that issue.

12 And next is the high pressure
13 injection system that -- we talked about this at
14 several of our meetings. The issue here again is
15 sump debris could potentially result in pump
16 damage during the recirculation phase, but unless
17 you want more information on that, we have pretty
18 well covered that issue. We need to reach
19 resolution on that. We have in this case declared
20 that system inoperable. We have -- I believe last
21 week we submitted an LER on this issue.

22 The other issue that's been left

1 open to resolve on this yet is the motor for the
2 pump exceeds its nameplate rating during certain
3 accident conditions. It does not -- we are doing
4 evaluations now, and it does not look like it's
5 going to, in any case, exceed its service factor,
6 which is an acceptable range for the motor to be
7 operated in. We expect that this motor question
8 will be answered effectively, and the motor will,
9 in fact, continue to perform and provide some kind
10 of function.

11 MR. GROBE: Has the tech spec provision for
12 the HPI pumps, has that been submitted?

13 MR. POWERS: Not yet. The license amendment
14 request? Not yet, Jack. We had a meeting on that
15 this morning between Lou Myers and our licensing
16 analytical staff, and it's heading towards our
17 station review board today and for the off-site
18 review board following that. So we would expect
19 that would be probably the latter part of this
20 week, early next week.

21 MR. SCHRAUDER: Depends on availability
22 right now of the off-site review committee. They

1 have drafts of it to review, we need to get them
2 the final copy and then have a meeting with them.

3 MR. PASSEHL: You are referring to in your
4 second bullet, is that --

5 MR. SCHRAUDER: Yes

6 MR. FARBER: I believe when I was last at
7 the site I saw a list of topics that were under
8 consideration or had had LERs issued. One of
9 those related to HPI, and that was survivability
10 of the HPI pumps for a certain class of small
11 break LOCA. This is not listed on here. Can you
12 tell me where that stands?

13 MR. SCHRAUDER: That is the issue, Marty,
14 the small break LOCA is functioning off of, or are
15 you talking about the minimum reserve?

16 MR. FARBER: That was the topic under
17 consideration for LER; I don't see it on the list.

18 MR. SCHRAUDER: That's right, and -- that's
19 right. I believe it is resolved, and it did not
20 result in operability of the system, so what I
21 went through and tried to pull out on the issue,
22 what has not been resolved yet. That was an open

1 CR, and therefore it would have showed up on the
2 list. I'd have to confirm --

3 MR. BYRD: That issue has not been resolved
4 at this point. That current LER, the issue you
5 are seeing is the issue of minimum ~~reset~~ recirc, when we
6 have gone to the isolated ~~reset~~ recirc and that is
7 currently still being resolved, and we are looking
8 at a couple of different possibilities,
9 potentially minimum ~~reset~~ recirc operating from the
10 sump, or some other alternative that is very much
11 -- I think the reason this is very much tied into
12 this first issue of the -- where we are kind of
13 looking at HPI pumps as an issue, how we deal with
14 the HPI pump when rating from the sump. So it's
15 rolled into the first bullet. The team that is
16 working on that is all the same team for the
17 minimum ~~reset~~ recirc issue.

18 MR. FARBER: Thank you.

19 MR. SCHRAUDER: The final issue is
20 inconsistencies between surveillance test criteria
21 and technical specification requirements. The
22 tech spec surveillance test for HPI is -- flow is

1 based on a LOCA analyses, so it protects from the
2 flow for LOCA.

3 What we found is the actual flow in
4 this case, the flow that we have demonstrated
5 supports the LOCA analyses. It's an issue of tech
6 spec that actually had a more restrictive flow in
7 it than the -- the LOCA analysis flow would be.
8 The actual flow as exhibited in the field is
9 expected to meet both the design and tech spec
10 flow.

11 MR. BYRD: If I could add, the tech spec
12 flow was not -- was actually -- was appropriate
13 and at the point in which the tech spec is
14 designed, our tech spec is designed in a single
15 point, and when one of our engineers looked at
16 this and actually turned this into a system curve,
17 the tech spec point, and they noticed that at the
18 very low flow, the very low flow, the tech spec
19 and analysis curve would cross each other, so that
20 was really the issue here. So at the point where
21 we actually measured the tech spec point, our
22 analysis flow was less than our tech spec flow.

1 So that was the point I wanted to make.

2 MR. SCHRAUDER: But the actual flow --

3 MR. BYRD: The actual flow meets both, so we

4 don't have a -- the issue is the two curves would

5 cross over very low flow if you were to take the

6 tech spec point and try to expand the rate into a

7 system curve.

8 MS. LIPA: Do you anticipate a tech spec

9 change will be necessary?

10 MR. BYRD I don't believe so right now for

11 that. We are -- I'd have to -- I don't believe

12 so. I'd have to -- that's still under

13 consideration.

14 MR. GARDNER: Were you ready to go to

15 another page? Because the instrument uncertainty

16 issue at the very bottom, is that another instance

17 where you have done preliminary results from an

18 uncertainty issue or have you a basis for saying

19 that you're pretty sure the uncertainties will be

20 no problem?

21 MR. BYRD: In this case we actually have

22 completed the calculation, and the issue

1 uncertainty calculation has been performed and
2 reviewed. Neither have been signed off yet. This
3 is another calculation which actually did have
4 instrument uncertainty in it. However, when we
5 went through -- and I'm not an I & C person -- we
6 did a different methodology, and the results,
7 which is apparently improved, and the results were
8 slightly different, though again it was not a
9 significant difference between what we had prior
10 to this and what we have now.

11 MR. GARDNER: Thank you.

12 MR. SCHRAUDER: The next system is
13 ECCS-HVAC, or the cooling systems. The remaining
14 issue on this really is a design issue that is not
15 one that came out of latent issue reviews. In our
16 reviews we found a past -- at the time what that
17 was called operable justification on the HVAC or
18 ECCS that allowed, under certain conditions, to
19 take one of the coolers out of service and the
20 system would still be operable.

21 When we went to the separation from
22 the latent criteria and heat up of the ultimate

1 heat ~~syne~~ sink, it was found that this operability
2 determination looks like it was still used, at
3 least one or two times after that, so it was a
4 flawed operability determination and could impact,
5 depending on whether the system was out longer
6 than its allowed outage time, in a situation could
7 result in an LER as a tech spec violation. And
8 this is -- a past operability will be issued on
9 this and not a current that will pull an
10 operability issue out of the records.

11 MR. FARBER: I'm a little confused. Are you
12 saying that this operability determination was
13 actually flawed, or that its application was
14 superseded by changes that you have made in the
15 plant, and it should have been reflected back --

16 MR. SCHRAUDER: Right, at the time it was
17 used. It wasn't valid later in life, so the use
18 of it was flawed, it was flawed for the current
19 design basis, however you want to look at that.
20 But, in fact, it was acceptable when it was
21 written for what was considered to be the license
22 basis at the time.

1 When we revised it to the changed
2 -- the ultimate heat temperature, it would not
3 have been operable in that case.

4 MR. FARBER: So this is more of a
5 configuration control type issue rather than a
6 flawed operability determination.

7 MR. SCHRAUDER: Well, yes, but it's still
8 relying on operability determination without
9 effective controls configuration management. You
10 could look at it. We didn't want to draw the line
11 on what's a design issue and what's not a design
12 issue. The operability determination was based on
13 expected design that was not accurate.

14 And then the last system really is
15 the electrical distribution system or whatever is
16 on the -- as we talked in the past in some of our
17 meetings, we are doing a complete reanalysis of
18 the system using the electrical analysis program.

19 And that analysis is not complete
20 yet, so there is a potential in the electrical
21 distribution system that that analysis could show
22 some lack of margin in the electrical distribution

1 system, we just don't have the final analysis on
2 that.

3 They are expecting very shortly,
4 like today or the next couple of days, to be able
5 to start running those analyses. The model is
6 pretty much set now and ready to go, so now we
7 will be loading all different scenarios and models
8 into that to see what the analysis shows.

9 If this is one that could result in
10 impact, you know, on the systems down the line,
11 motor operated valves and the like, has some slim
12 potential of some additional modifications to the
13 plant, some impact on operability. We anticipate
14 that in the final analysis this one will probably
15 demonstrate that the electrical distribution
16 system probably will function. It may not have as
17 much margin as the previous design, may not have
18 shown as much margin as you'd like, but we are not
19 anticipating huge ramifications or modifications
20 to come out of this. But we can't say that with
21 any degree of certainty yet because the analysis
22 is not complete

1 MR. GROBE: Two questions, last time I
2 touched this issue, I understood the calculations
3 were going to be completed in the second week --
4 near the second week in June.

5 Is that still an accurate date?

6 MR. POWERS: That's right, that is on track,
7 the second week in June is what we are targeting
8 for operability determination for mode change,
9 Jack, and we are on track for that with the
10 current schedule Bob described.

11 MR. GROBE: The other question really goes
12 to the issues we just mentioned, Bob. What is the
13 basis for your belief that it's going to be
14 operable and -- may be degraded but it's operable.
15 What do you -- what foundation do you have for
16 that belief?

17 MR. POWERS: One of the major considerations
18 I described earlier was the motor-operated valves
19 in the plant. And in this case the input to the
20 motor-operated valves is voltage supplies by the
21 AC distribution systems. In our motor-operated
22 valve program, in many cases the input voltage was

1 assumed to be in a low range of 80 percent as a
2 conservative measure and starting from that point
3 then we feel there is margin built into those
4 calculations, capability calculations to accept
5 some voltage drop-off in this system, and -- but
6 that's what we're looking at most carefully,
7 engineering is pulling out all of the design
8 information from the programs. So as soon as the
9 results are available they will be able to give us
10 a thumbs up or not thumbs up on the valve's
11 performance.

12 MR. GARDNER: So that includes degraded
13 voltage first and second level, et cetera?

14 MR. POWERS: Right. Yes, it goes down to
15 480 volts distribution, and it's carrying -- it's
16 largely looking at off-site voltage, and it has
17 the degraded off-site voltages factored into it.
18 And then it carries down to the distribution
19 system and takes the bus voltage and 480 voltage
20 and looks at the service loads, whether valves or
21 pumps, various motors, fans and their operability.

22 MR. GARDNER: So this has wide-ranging --

1 potentially wide-ranging ramifications that would
2 cross a lot of areas, including fire protection
3 and a lot of other areas where coordination and
4 breaker sizing and capacity, everything would have
5 to be reviewed?

6 MR. POWERS: Right, that's right. And Bob
7 says those transients are being analyzed. In
8 fact, that is -- and I will talk to this in a bit
9 more detail later, but what the electrical
10 engineering team has been working on closely with
11 operations representatives at the site is the
12 various equipment and when it operates and which
13 modes of the plant looking for what is the
14 limiting worst case conditions, and then looking
15 at how the system would perform under that
16 condition and what the voltage is supplied to
17 various components, so -- and we have also been
18 evaluating all the input that goes into the
19 program, so you can imagine in the plant the many,
20 many different components, going and collecting
21 the data and validating the data for motor power,
22 what the actual motor power that is drawn by the

1 various motors throughout the plant, and getting
2 that accurately modeled into the system.

3 What I will point out and what was
4 done at the plant, we were using the original
5 instruction analysis software that the plant was
6 built to over the years, and one of the issues
7 that came up, that small changes were made to the
8 plant, and they were each individually assessed
9 and documented against the original calculations.

10 However, a collective reanalysis
11 needed to be performed, and this had been
12 identified several years back. The desire was to
13 do a reanalysis to upgrade the software and
14 process. As we got into, in last year's
15 engineering reviews we found there was more
16 questions raised that we wanted to factor into the
17 reanalysis to make sure we answered all the
18 various questions that had come up in the past
19 year. So it's a pretty extensive reanalysis
20 effort. We should be seeing the results of that
21 starting this week.

22 MR. SCHRAUDER: That completes the

1 discussion of the systems covered under the latent
2 issue reviews and safety function validation.

3 The next topic --

4 MR. GROBE: Let me make sure I understand --
5 there is really two questions here, I want to
6 understand correctly. One is the operability of
7 the electrical distribution system, and that
8 primarily we have to go with breaker fusion
9 coordination. The second is the operability of
10 the service components; is that correct?

11 MR. POWERS: That's right, that's right.

12 MR. GROBE: And it's your review looking at
13 how you did the calculations for sizing valves and
14 whatnot that you have had an unusual amount of
15 design margin in the low voltage for those valves,
16 so that we don't expect this to be an issue
17 regarding the valves. Do you have a view on a
18 breaker fuse coordination issue?

19 MR. POWERS: That still remains to be run,
20 Jack. I talked to the analyst yesterday on that,
21 they're working through the model, and I don't
22 have an -- I don't have a real view on that as yet

1 until I get their results out and see what the
2 load flow is, and they will get a better sense on
3 whether the protective free line design is
4 satisfactory.

5 MR. GROBE: Yeah, probably. Do you have
6 generic information on this? This is not the
7 first plant that's had these kinds of problems.

8 MR. GARDNER: No. In fact, we have
9 previously looked at degraded voltage settings and
10 these type of valuations in the past, even at
11 Davis-Besse. Unfortunately, in our reviews we
12 didn't have the time to go down through the 480,
13 120-volt level, and so we stopped somewhere
14 between 4160 and 480, so we couldn't very well be
15 -- the results will find issues that weren't
16 previously identified

17 MR. GROBE: We have not had generic
18 communications with any supporting agency.

19 MR. GARDNER: We have had all sorts of
20 information about degraded voltage, about the
21 concern of having adequate voltage all the way
22 down to -- particularly to the 120-volt relays,

1 and whether or not the relays are adequate based
2 on the numbers, you have to perform the function.
3 So we have had lots of communications, there has
4 been lots of actions certain utilities have had to
5 take in response to the findings in this area.

6 MR. GROBE: Thanks.

7 MS. LIPA: Before we go onto the next
8 section, this is a good time for a break, but I
9 wanted to make sure there weren't any questions
10 from here or headquarters on Bob Schrauder's
11 topics. Anybody else, anything from headquarters?

12 (No response.)

13 MR. SCHRAUDER: The next section is topic
14 area issues and continuing with the design
15 reviews.

16 MS. LIPA: So we will have another shot at
17 Bob Schrauder. Well, I still think it would be a
18 good time for a ten-minute break. We will be back
19 at 2:30.

20 (Whereupon, a recess was
21 had, after which the
22 ~~hearing~~ meeting was resumed as

1 follows:)

2 MR. GROBE: It's 2:30, and we're ready to
3 continue. Go ahead.

4 MR. SCHRAUDER: Thank you, Christine. The
5 next area that also involved design reviews, if
6 you will, are topical area reviews. The purpose
7 of these reviews, they were cross-cutting generic
8 issues that had the potential to affect multiple
9 systems.

10 Listed here are the five that we
11 did. And we have gone through the results of
12 those topical analyses with you at the previous
13 public meeting. I was not anticipating going
14 through all of them again. What I have done on
15 the next page is, the last time that we met,
16 updated on this, we had not completed and signed
17 off on the Appendix R topical review. So I have
18 listed in here in the same format that we
19 presented in the past those actions that we need
20 to do to support restart that came out after
21 collective significance reviews in the Appendix R
22 world.

1 As you know, one of the outstanding
2 issues that we have on our fire protection
3 inspection is this analysis that -- to rebaseline
4 Appendix R transient analyses, and that work we
5 have given you had the schedule on when we
6 anticipate that transient analysis, and that was
7 identified in the transient analysis needed to be
8 completed

9 MR. GROBE: Can I go back to the last item?
10 I'm still having difficulty understanding what you
11 designated as topical areas. I understand that
12 you have indicated that the instrument uncertainty
13 question was a significant condition adverse to
14 quality and you scheduled a root cause assessment
15 for that and extent of condition review. But why
16 isn't that a cross-cutting generic issue that
17 could affect multiple systems?

18 MR. POWERS: Well, that was specific. We
19 looked at it as a specific issue. It was a
20 significant root CR that we needed to evaluate
21 what the policy was at the site over the years for
22 ~~spec-tech~~ tech spec and non-tech spec significant

1 instruments and ensure the setpoint policies were
2 acceptable to us.

3 So we are working that through a
4 specific issue. When we talk about topical area
5 reviews, these merged from the latent issue
6 reviews inspection results. It was a collection
7 of CRs. In many cases these would include, say,
8 30 CRs, sometimes more all around one of these
9 specific issues.

10 And as you recall, when we went
11 through, after going through the latent issue
12 reviews, inspection results we prepared a
13 collective significance assessment report that
14 took all the various CRs that had been issued, the
15 questions that were asked, and we put this through
16 areas, looking for numbers of questions, number of
17 discrepancies because we looked at lots and lots
18 of issues, and Marty's got his copy in his hand
19 there, he's well familiar with it.

20 And so we looked at how many
21 discrepancies for the number of attributes
22 checked, and those were the areas where there were

1 significant numbers of distribution, which means
2 every number of questions, CRs asked. So what
3 goes together? These are the ones that --

4 MR. GROBE: I understand what you're saying,
5 Jim, that during your latent issues reviews you
6 identified a number of CRs that affected seismic
7 qualification, station flooding and so on, and you
8 called those out individually as cross-cutting
9 engineering concerns.

10 MR. POWERS: Right.

11 MR. GROBE: And this one, if I understand
12 correctly, was -- had a specific issue regarding
13 instrument uncertainty, and when you started
14 pulling the piece of yarn, the sweater unraveled
15 and it became a broader issue that you are doing
16 analysis on, it became kind of a cross-cutting
17 issue. So I think I now understand how the two
18 issues got on two different lists. My question
19 now is, how many other non-topical areas do we
20 have that are cross-cutting concerns that are
21 engineering concerns that can affect multiple
22 systems?

1 MR. POWERS: Well, two of them come to mind,
2 and we are talking about today, one is the
3 electrical distribution system, as we work through
4 the reanalysis of that. And the other one was the
5 air-operating valve program, because they can be
6 in various systems and have the operating valves,
7 and I will go over that in a bit more detail, so
8 they are asking several programmatic issues that
9 have come up that do cross-cut in various systems.

10 MR. GROBE: Are there any others?

11 MR. POWERS: Not that come to mind.

12 MR. GROBE: Could you just, once you get
13 back, and not in a meeting context, but once you
14 get back, think about it, could you? If there is
15 any additional ones could I get a call and make
16 sure I understand the breadth of this?

17 MR. POWERS: Okay.

18 MR. GROBE: Thank you.

19 MR. SCHRAUDER: Again, the next slide was
20 just intended to show what came out of the
21 collective significance review, Appendix R. The
22 biggest one, again, was the rebaselining of the

1 transient analysis, and then any procedure
2 revisions that might result from that reanalysis
3 will be incorporated prior to restart.

4 Another one goes to begin the
5 electrical distribution system, the analysis for
6 the emergency diesel generator, Component cooling
7 water system, and service water system for
8 Appendix R scenarios. The adequacy of
9 calculations performed in response to requests for
10 assistance, what that was, and I did kind of just
11 briefly touch on that in one of our meetings. We
12 found a handful, 6 to 12 responses to what was at
13 the time a request for additional information on
14 some of the Appendix R questions that came up, and
15 rather than a formal calculation document, they
16 were simply assessed and responded to in the
17 request for system mode.

18 What we determined was those really
19 needed to be more formal in their response and
20 from a calculation backing for the ~~F.M.A.R.~~ FSAR, so we
21 did two things -- we are doing two things on that.

22 First, we are going to evaluate the

1 technical adequacy of the response that was given
2 and then convert them into formal design packaging
3 that can be incorporated in ~~F.M.A.R.~~ FSAR So the one
4 piece of that is to confirm the technical adequacy
5 was flagged as was required to be done prior to
6 restart.

7 And then a complete procedure
8 upgrade. We have a procedure upgrade project
9 under way on our series control room station,
10 first for those safe shutdown procedures, and that
11 project we said needed to be completed prior to
12 restart. And then of course there were procedural
13 changes as a result of the framatome procedure
14 upgrade. Then we need to retrain the operators in
15 those procedures prior to restarting the unit.

16 And other things that we identified
17 that do need to be done, but not necessarily prior
18 to restart, is to revise, based on these analyses
19 and stuff that actually goes in, and do the
20 revisions necessary to the fire hazard analysis
21 report.

22 So these are the things that came

1 out of the Appendix R.

2 MR. GROBE: When do you expect the analyses
3 and calculation validations to be done?

4 MR. SCHRAUDER: I believe that date is -- we
5 said we would have to be done, Jack, and ready for
6 it to come back the first week or so of July.

7 MR. POWERS: We are expecting an analysis
8 report by the end of this month on one or two
9 incorporated, additional two weeks to get ready,
10 first week of July.

11 MR. GROBE: Thank you.

12 MR. SCHRAUDER: So what did we learn from
13 the topical area reviews? We believe that they
14 did confirm, or they did confirm the fundamental
15 adequacies of programs. We didn't find any
16 systemic or programmatic flaws with how we set
17 those individual programs up, and they were
18 adequate to support operation.

19 Again, that is not to say we didn't
20 find discrepancies or issues in each of the areas
21 that required remediation prior to restart. We
22 did, and we went through those, and where it was

1 warranted we did extent of conditions for those
2 issues that came out of those reviews.

3 We have appropriately dispositioned
4 those outcoming issues as either restart or
5 enhancements that can be done post restart.

6 And unless there is some specific
7 questions on the -- Marty, I know you have copies
8 of the reviews, if you have completed your reviews
9 or not, but that's where we are at in the topical
10 reviews. Again, each had some issues and each are
11 being resolved and they are all entered into the
12 corrective action program and being tracked there
13 as either required for restart or post restart.

14 MR. FARBER: I've got a question that's a
15 little broader than what we have been dealing
16 with. A lot of the work that's being done,
17 especially in the area of calculations are
18 calculations that you have sent off to be done by
19 outside agencies which have to have owner
20 acceptance review. I'm also aware that Kevin
21 Coin's inspection found a problem with the work
22 that was done by a vendor for the sump mode, and

1 my question is, has that caused you to examine
2 your owner acceptance reviews and ensure that they
3 are sufficiently robust to guarantee adequacy in
4 the calc that you have?

5 MR. POWERS: The answer to that, Marty, is
6 yes. To us that was a significant concern that
7 Kevin brought to our attention. There is a couple
8 of aspects to it. At the time that the
9 calculation was prepared by one of our suppliers,
10 we had a -- the owner's acceptance process was to
11 review calculations. But subsequent to that we
12 revised our calculation process. We have a much
13 more complete checklist now that is provided to
14 the engineers, and what attributes to check in the
15 calculation.

16 So in the interim there has been
17 some improvements in the program itself on how
18 calculations are checked. Also, we are looking
19 very closely at the modifications that we have
20 performed at the site during the course of this
21 outage where we have had them rolled up into a
22 final package, the package is near complete, and

1 the final package has all the reviews and
2 programmatic requirements and documents, what's
3 been done in the field that provides the basis for
4 it, as well as -- and formalizes that package.

5 The review process that we are
6 doing for that are being looked at very carefully
7 for two of our other modifications that were
8 performed by a supplier. To ensure that we did
9 very rigorous review, we are also engaging our
10 engineering assessment, more specifically in the
11 area of calculations, because the significant
12 point from Kevin's findings was fidelity of the
13 configuration that was assessed in the
14 calculation.

15 That was issued in the final design
16 package, there was a difference there that should
17 not have existed, and so we are looking
18 specifically now at the configuration that is
19 described in the topical, does it match rigorously
20 the modification package. There is a number of
21 things that we are doing to look into detail
22 there.

1 MR. FARBER: Are you taking a backward look
2 at calculations that were approved prior to your
3 implementation of the improvements?

4 MR. POWERS: Yeah. And we have looked at --
5 in fact, our engineering assessment board looked
6 at calculations during one of the past assessments
7 we have recently done, and engineering restart
8 readiness assessments were done by corporate level
9 composite EAP.

10 One of the things that they looked
11 at was quality of calculations, and the general
12 finding was that they were improving. And so we
13 are looking at the specific one, although we are
14 doing extent of conditions, we are looking at
15 specific circumstances around this.

16 One more extent of condition, you
17 don't see a large extent of condition problems and
18 owner acceptance, yet, in fact, I've got to tell
19 you, I sat in an office yesterday evening with
20 design engineers, engineering manager's office
21 with some of the engineers voicing dissatisfaction
22 with the performance of the -- some of the

1 contractors who were performing calculations for
2 them, unrelated, but, you know, the individual
3 engineer had a copy of the calculation all marked
4 up and red with comments all the way through it,
5 and all the changes in the numbers at the
6 beginning carries through an analysis, you know,
7 the ownership there is quite hot.

8 Now, what we need to do is ensure
9 that kind of ownership is consistent, because
10 there is a large amount of work that is coming to
11 finalization here at the site as we finish up some
12 of the major projects we have done. So we want to
13 ensure that we are checking carefully all the
14 technical products that come to us to make sure we
15 have got that ownership, so I hope that answers
16 your question.

17 MR. FARBER: Thank you.

18 MR. SCHRAUDER: I hope that answers your
19 question from yesterday too. Jack asked us the
20 same question yesterday.

21 MR. GROBE: I have another question on the
22 -- how many significant conditions adverse to

1 quality or root causes in the engineering analyses
2 and calculation area exist, wherein the root cause
3 or extent of condition has not been completed?
4 MR. POWERS: I would -- well, I don't have a
5 specific number for you, Jack. We have had about
6 -- I would want to characterize as many as 26 in
7 root cause CRs, particularly in the design area.
8 Of those, I think virtually all have been gone
9 through the process of investigation, the
10 initiation of corrective actions, and we have got
11 a real gauntlet that these run, so once they're
12 prepared, they go through the supervisor of
13 management review before the corrective action
14 review board for comments. We also have condition
15 report and lists and root causes. We have CRs,
16 and specifically manned individuals to look at
17 them, and ultimately once they've cleared all
18 their hurdles, they go to SMT for acceptance and
19 vice-president's signature.
20 So there is a number of them that
21 are moving through that process, and I can't give
22 you a number about how many are currently

1 outstanding. I would say in the ballpark of eight
2 to ten as an estimate.

3 MR. GROBE: But the root causes have all
4 been completed. What you are saying is they are
5 somewhere in the process of being reviewed and
6 approved?

7 MR. POWERS: Yep, that is correct. And with
8 the exception of the one we just talked about and
9 the emergency sump, we are currently doing that
10 root cause right now for our internal suppliers
11 for their internal corrective action, which they
12 have given us copies of.

13 MR. GROBE: Jim, could you give me a list of
14 the CRs that were characterized as SR in the
15 design area and what is the status on those?

16 MR. POWERS: All the significant CRs on
17 design?

18 MR. GROBE: Yes.

19 MR. SCHRAUDER: The next slide we have just
20 summarizes what we say about the design. The
21 safety functions have been confirmed for a number
22 of the systems. We have ongoing activities which

1 we expect to conclude in a confirmation of an
2 operability and operability of performance, their
3 safety functions, and there are going to be, I'd
4 say, one or two for these exclude the impact of
5 electrical distribution, but we will have one or
6 two systems, as we have described here, that will
7 have been declared tech spec inoperable as a
8 result of our reviews.

9 And, again, even on a couple of
10 those, even though we would show they were tech
11 spec inoperable, we believe they would have
12 performed their safety function, may have just
13 been later down the road that they achieved that
14 function.

15 With that, unless there are
16 additional questions, I will turn it over to Jim
17 Powers.

18 MR. POWERS: Thanks, Bob. What I'd like to
19 cover this afternoon is the remaining design
20 issues, and we have touched on these in the course
21 of the discussion, but I will provide what further
22 information I can on them.

1 What we are doing with the
2 remaining design issues is assure that safety
3 issues are resolved, the tech spec operability is
4 met, and the systems' structures and components
5 will perform their safety function.

6 MR. GROBE: Before you go on, I was thinking
7 about what you just said, Bob, and I appreciate at
8 this point that you have reviewed, but not have
9 concluded when you finish all your analyses that
10 there were non-functional systems, but --

11 MR. SCHRAUDER: HPI we know is going to be
12 an exception to that.

13 MR. GROBE: So HPI was non-functional?

14 MR. SCHRAUDER: Right. RCS will be
15 inoperable, but would have performed its function.
16 Steam and feed water rupture control system will
17 be inoperable. That's the one that would have
18 functioned, it would have been within a second or
19 two later than currently analyzed.

20 MR. GROBE: Okay. The point I was going to
21 make is that many of these analyses are in various
22 stages of being completed, and internally they are

1 far enough along that you feel comfortable that
2 they are not far enough along that we can evaluate
3 them.

4 Part of the corrective action team
5 inspection scope was a number of these issues, and
6 I believe that team will be back for one week
7 later this month, and then maybe one or two weeks
8 sometime during the summer. Once you finish all
9 the analyses and we can get a better sample of
10 engineering corrective actions to look at, so I
11 understand and accept your statements and your
12 conclusions, but we don't have a capability yet to
13 provide assessment of that.

14 MR. SCHRAUDER: I understand that, Jack

15 MR. POWERS: What I'd like to reiterate when
16 we talk about some of the remaining design issues
17 I'm going to discuss is the volume of design
18 information that was reviewed over the course of
19 the last year at the site. Our latent issues
20 reviews and system health readiness reviews were
21 structured after some of the developments and
22 insights that were gained at several other sites

1 and went through recovery processes as well as
2 were staffed with people who had participated in
3 those recoveries and have gone through design
4 process reviews.

5 So we felt we had a very thorough
6 investigation performed, and as Bob described, we
7 have several issues that are tough to resolve,
8 several systems that with operability that is in
9 question, with the vast majority of the design
10 basis was found to pass the scrutiny and be
11 adequate to support operability.

12 The four topics I'd like to touch
13 on this afternoon are high pressure injection
14 pumps and the particulates from the sump, and I
15 will go over that briefly for those who weren't
16 sitting in on the recent public meetings
17 discussions in that regard.

18 The electrical distribution system,
19 I will just touch on that, and our air-operated
20 valve program and emergency diesel generator
21 loading. So as you can see, we discussed many of
22 those, and these are what we consider our

1 remaining top issues, each of which is resolvable.

2 The high pressure injection pump on
3 Slide 26 for those of you in the audience who have
4 the slide package in front of you, you can see a
5 photograph of the pump. The pump is contained
6 within a cylindrical enclosure, and the pressure
7 boundary is a multi-stage pump that's within
8 there. And the issue is that at the end of the
9 pump facing at the end, we can see in the
10 photograph there is a hydrostatic bearing that
11 supports a rotating shaft, and there is water that
12 comes from one of the internal stages and powers
13 that hydrostatic bearing.

14 And it -- the water, since it comes
15 from the pump, may contain any debris such as grit
16 that may be coming in the latter stages of
17 accident function of the pump from the emergency
18 sump, and there is -- can be grit and other fine
19 debris during that time, and it can potentially
20 cause damage to that bearing. And we say
21 potentially, because we have got a number of
22 equipment experts evaluating this pump for us, and

1 it's not clear that the pump would be damaged, but
2 we do have a concern about it.

3 We describe two options that we are
4 currently pursuing and evaluating to resolve the
5 issue, one of which is to modify and test the
6 existing pumps to ensure their operability with
7 any debris in the pump. And the second option
8 would be to install new pumps and motors, and we
9 have gone out into the industry and found two
10 suitable pumps and motors that we can modify and
11 install in the plant in replacement of these
12 pumps.

13 Currently we are evaluating those
14 two options to determine what the right thing is
15 to do for the plant, and we will be making a
16 decision as we move forward in time over the next
17 several weeks based on results from testing at the
18 site, as well as continued engineering
19 developments with the replacement pump option.

20 We will come to a decision and, of
21 course, inform you at that time of what that
22 course will be. We believe either option will

1 provide satisfactory pumps for the application at
2 the site.

3 MR. FARBER: Jim, I'm curious how would you
4 propose to test the numbers for the capability to
5 pass debris?

6 MR. POWERS: The testing program is --
7 consists of several different aspects, Marty. In
8 a laboratory setting we plan to test small screens
9 that would be modifying the multiples to put into
10 the filter, the flow going to the bearings and
11 demonstrate that as we pump a mixture of debris
12 that we'd expect that there would be containment
13 through there in the test facility, that the
14 screens would be self-cleaning, would not clog.

15 So we'd demonstrate that by testing
16 the results. Our concerns will be wearing in the
17 pump that -- of the rotating element's run-on, we
18 would be testing those in a test mock-up with
19 debris to determine wear rates on the wear rings,
20 and how much wear we expect during the emission
21 time of the pump.

22 Once we have done those two tests,

1 we will be taking the resultant wear and preparing
2 wear rings to put in the pump in the plant and
3 actually test it with that amount of wear to
4 demonstrate it works.

5 And so we believe with a
6 combination of laboratory testing and actual
7 testing in the plant that we will be able to
8 demonstrate each of the technical issues
9 satisfactorily, that the pump will work.

10 And the other thing we are looking
11 at to do is open up on wear rings, for example,
12 and the functioning of the hydrostatic bearing.
13 One of the issues that our technical staff has is
14 whether the rotation and resultant vibration of
15 the pump could be affected. We expect to do the
16 test in the near term, within the next several
17 weeks at the site with an existing pump that will
18 be installed, and as you see, that should answer
19 quite a bit of questions in terms of the analysis
20 that's been done going to characterize the roto
21 demand characteristics of the pump versus the
22 actual field performance of the pump. We have a

1 surveillance test we do, we will run the pumps
2 through a regime that will demonstrate how
3 susceptible they are to clearance opening up and
4 stability, what is the natural frequency of the
5 pump relative to its operating speed.

6 And the analyses that we have done
7 have indicated that it's relatively close, that's
8 why the engineers have a concern of this, but we
9 believe that the field testing with a number of
10 factors that will affect that type of analysis of
11 the pumps, sometimes the analysis is not as
12 accurate as it can be without demonstration of
13 benchmark of actual performance in the actual
14 equipment.

15 And Bob Coward is with us from MPR
16 today, and Bob is actually heading up the team at
17 MPR that is looking at this option, so, Bob, is
18 there anything else that --

19 MR. COWARD: I think you did it pretty well,
20 Jim, unless there is any other specific questions
21 we can answer. I think Jim explained it fairly
22 well, and that is through a combination of, you

1 know, laboratory testing, as well as some testing
2 in the plant with additional analyses. We are
3 pretty confident we will show the pumps will be
4 acceptable when you get down to relatively minor
5 modifications that need to be made to install the
6 strainers.

7 MR. POWERS: And we will present to you the
8 details on those analyses and tests later, and
9 your staff can review on extent of condition
10 standpoint.

11 We also looked at our low pressure
12 injection pumps, Bob had mentioned earlier they
13 have cyclone separators in the injection flow that
14 goes to the mechanical seals, so this -- in this
15 case we were not talking hydrostatic bearing, but
16 mechanical screens on the pump. The screens have
17 a close running tolerance for debris getting into
18 -- between the seal and rotating shaft is
19 minimized, and, in fact, they're fairly hardened
20 against debris getting into it, but there is a
21 concern with the amount of debris that could --
22 cooling water could be blocked, the seal may not

1 perform well, and leakage may come from the pump.

2 And so, as I mentioned earlier, we
3 are ordering a replacement cyclone separator,
4 which is a small component readily available for
5 the ~~LMT~~ LPI pumps, and that is currently being
6 prepared for delivery to the site.

7 We are also reviewing our
8 containment spray pumps which is a similar
9 mechanical steel. They do not have a cyclone
10 separator, they were initially specified to be
11 capable of pumping quarter-inch diameter debris in
12 the original specifications for the equipment, and
13 based on what we learned on the LPI pumps, we are
14 looking at those mechanical seals as well on those
15 pumps to assure that we feel that they are sound
16 for the application.

17 So extent of condition, all the
18 pumps that are taking pumpages from the emergency
19 sump were being reviewed.

20 The next topic I'd like to discuss
21 is the electrical distribution system. In the
22 earlier discussions, Jack, one of the things you

1 had brought up was past generic communication and
2 our response on the electrical distribution
3 concern at Davis-Besse.

4 The site received those generic
5 letter correspondence and answered them. Many of
6 us who were involved at that time, it's something
7 we will be going back to evaluate, but the
8 analysis of record at the time was based on the
9 electrical load management system, which was used
10 in the original design construction of the plant.
11 And that design basis analysis was used to answer
12 those questions on relaying and coordination and
13 voltage.

14 What we are dealing with today is
15 an update of the analysis, making sure all of the
16 loads have been integrated into the analyses, and
17 we get an up-to-date run, and I think we need to
18 await the results of that run and find out the
19 status of the system.

20 So the resolution of the issue was
21 to revalidate input analysis. We have got a team
22 looking very carefully to make sure all the