

1 MR. POWERS: No.

2 MR. GROBE: Okay.

3 MR. MYERS: No, not at all.

4 MR. POWERS: Okay. Next topic

5 I wanted to brief on is the Safety Features Actuation  
6 System Relays. These are relays in a system that were  
7 changed out very early in the refueling outage last year.  
8 They were part of the planned projects for the refueling.

9 We changed to a different type of relay. It was  
10 intended to be installed to replace the original relays  
11 that were supplied with the plant. Over time as we've been  
12 replacing those relays, we ran into a problem with  
13 obsolescence; that is, the supplier stopped manufacturing  
14 the replacements for us. So, we needed to come up with an  
15 alternative replacement.

16 The replacement that was developed, we found from  
17 our testing, is not really suitable for the application.  
18 So, we've taken those out. And, we're in the process of  
19 evaluating and returning the original relays to service,  
20 while we regroup and review and develop a replacement for  
21 them.

22 Some of the things we've done in this technical  
23 evaluation, we've looked at the predominant reasons for  
24 replacement of the relays and we found out there is --  
25 replacements are usually due to coil problems. And, we

1 found out with perspective coils and replacements, they're  
2 random with respect to age.

3 We've tested the original relays. We've developed a  
4 bench test criteria looking at coil resistance and contact  
5 resistance and insulation performance of them, and gone  
6 through and screened out a small population that did not  
7 meet our acceptance criteria and we took those out of the  
8 population.

9 We believe that the remaining relays that, of this  
10 original group, will have improved reliability as a  
11 result. And we've developed an action plan to go through,  
12 based on our problem-solving decision-making process, to go  
13 through this testing and evaluation process. MPR  
14 Associates is our lead technical support team as we go  
15 through this evaluation.

16 Because we screened out a number of ~~outliers~~ **outliers** that  
17 didn't meet our acceptance criteria, we obtained  
18 replacements from another utility for the ones we could not  
19 reinstall in our plant. And we have those on site now and  
20 we're going to run those through our bench test as well to  
21 be sure that those are demonstrating appropriate  
22 performance before we install them in our plant.

23 On the next slide, we see our Technical Evaluation  
24 is in process. Talked a little about the industry experts,  
25 MPR assisting us with this.

1           Our average replacement, we found from a historical  
2 review, has been about two percent per year for the past  
3 twenty years. We have had a low level of replacement  
4 activity ongoing.

5           We looked at temperature effects relative to aging.  
6 Does not appear to be an issue, but we're going to take  
7 several relays apart to confirm it, and look at their  
8 material condition to confirm that and to confirm their  
9 functionality for another fuel cycle. And we're also going  
10 to perform an independent review of this technical work  
11 that we've done.

12          We're going to prepare an Operability Evaluation to  
13 confirm operability in this case. The original relays that  
14 we had installed were operable. We had an obsolescence  
15 issue with them. We're reinstalling them. We'll document  
16 the technical basis for that for Operations to review. And  
17 expect to confirm that those relays were acceptable for  
18 operation through the next operating cycle.

19          And I should point out, one of the major other  
20 activities that's included in this effort is procurement of  
21 a new generation of relay that's specifically engineered  
22 for the application of panels, and that's ongoing now with  
23 the initial specification stages as well.

24                 MR. THOMAS:           What's been done  
25 to strengthen your procurement process, specifically in the

1 area of equivalency evaluations, to ensure you're getting  
2 the components that you need to go into your safety related  
3 equipment?

4 MR. POWERS: We have a  
5 Significant Root Cause Condition Report that was written on  
6 this issue, and that was assigned to our Procurement  
7 Engineering Group to investigate, evaluate this issue, and  
8 how those replacement relays at the beginning of the refuel  
9 outage were specified, and what problems led to the issue  
10 of their application.

11 So, they own that Condition Report. We have an  
12 individual that's investigating it, feeding back what he  
13 sees as potential causes. I have met with the Supervisor  
14 of Procurement Engineering personally, and with the CR  
15 Investigator, to go over some of the considerations when we  
16 seek to get replacement parts for the plant, the level of  
17 detail that we go into in scrutinizing the application of  
18 the parts, and the application that they're in.

19 So, we've had that dialogue, Scott, to assure that  
20 that's well understood, the issue here, its relationship to  
21 procurement process.

22 MR. GROBE: Just one more  
23 relay question. If the failure rate has been fairly  
24 consistent, two percent per year, does that indicate that  
25 there hasn't been -- it was my understanding that the

1 initiating action here was a perceived higher failure rate  
2 combined with a difficulty getting replacement parts, which  
3 caused you to replace these relays.

4 MR. POWERS: Right. What we're  
5 finding when we say perceived high failure rate. We find  
6 from historical records that there was a relatively steady  
7 low level failure rate. When you have a failure in IC,  
8 Maintenance needs to do a change-out. That activity was  
9 ongoing.

10 But, where it really became a critical issue is when  
11 the manufacturer stopped providing that style relay. It  
12 became an obsolescence issue that needed to have changed.

13 MR. MYERS: We're working with  
14 three other utilities.

15 MR. GROBE: Sorry?

16 MR. MYERS: We're working  
17 with three other utilities that also have this same relay  
18 in their systems. In fact, we went out and got them to  
19 give us their relays, so we would have enough for this  
20 cycle. I think it was like 256 relays.

21 But support knows this is a reliability issue.  
22 These relays, when they do fail, they fail in a safe  
23 state. They fail on trip mode. So, what you wind up with  
24 is a reliability issue.

25 MR. GROBE: So, these relays

1 won't be treated any differently under the maintenance rule  
2 then? They're in fine condition from a maintenance  
3 reliability perspective?

4 MR. MYERS: I think that's  
5 correct, yes.

6 MS. LIPA: Okay. Anybody  
7 else, questions for Jim?

8 This would be a good time for a 10 minute break.

9 Your next session is about to start, right?

10 Okay, so 10 minutes.

11 (Off the record.)

12 MS. LIPA: Okay, Bob, you  
13 can go ahead.

14 MR. SCHRAUDER: Thank you.

15 I'm going to talk about two issues today; the high  
16 pressure injection pump modification we're pursuing, and  
17 also give you an update where we're at with the Corrective  
18 Action Program. I'll start with the high pressure  
19 injection pump.

20 Before I get started on that, I would like to  
21 recognize John O'Neill, who is in the audience. He is our  
22 Site Project Manager and coordinates all the activities  
23 involved with the high pressure injection pump. And, he's  
24 going a really good job for us on the site. I appreciate  
25 the support we have with him.

1 High pressure injection pump modification. The last  
2 time we got together, we talked about the potential for  
3 modifying the existing pumps in lieu of replacing with the  
4 pumps that we had purchased. Since that time, we have  
5 looked at this option in more detail, and have decided that  
6 this will be our primary success path.

7 We have confirmed for ourselves that this  
8 modification will work. With the modification installed,  
9 the pumps will perform all of their required activities.  
10 And we continue to work very closely with MPR Associates on  
11 this activity.

12 And the issue with the high pressure injection pumps  
13 is, we found even with the new screens that we put on our  
14 sump, that very fine debris that can get through the sump  
15 screen could impact the existing internal pump clearances  
16 and had the potential to cause the pump not to be able to  
17 perform appropriately.

18 Again, we had looked at replacing or modifying these  
19 pumps. Since our last meeting, we have not abandoned the  
20 replacement activity, but we put that on hold right now and  
21 are not proceeding with that option. We have very high  
22 confidence levels in the modification approach, as it's far  
23 less complex, touches fewer of the plant systems, and that  
24 type of piping modification and support modifications that  
25 would have been involved in the replacement option.

1       What we will do is modify our existing pumps with an  
2 internal strainer that will strain the water that goes to  
3 the hydrostatic bearing.

4       I'm going to talk a little about the project  
5 milestones, the strainer design and its testing, what we're  
6 doing to validate the pump performance for potential  
7 clearance opening as a result of pumping the debris water;  
8 and then talk a little bit about what it's going to take to  
9 implement this modification in the field. I would say that  
10 that field implementation represents the biggest challenge  
11 certainly from the perspective of the schedule.

12       So, on the next slide, I'll talk about the strainer  
13 design and the testing. The strainer will allow water to  
14 pass through and supply the hydrostatic bearing and the  
15 seal. It's what I call a self-flushing strainer. That  
16 would determine analytically that the transient flow and  
17 the velocity of the water will maintain the screen clear of  
18 debris and allow water to get through, but will not allow  
19 the debris to get through there.

20       If you go to the next slide for a second, we'll talk  
21 about a little bit different design approach than we talked  
22 about last time. Right in here are the screens that we  
23 talk about. And right here is the take-off that feeds the  
24 hydrostatic bearing. This represents the volute in the  
25 fourth stage of the pump.



1       The last time we had talked, this screen, the port  
2 that goes over the bearing was located, is currently  
3 located right there. And the screen would have gone, can't  
4 see it real well, but this is a curved surface in here.  
5 And we have changed that location to the one that's shown  
6 in this configuration.

7       And we did that, because we found that by relocating  
8 those ports, the water that supplies the hydrostatic  
9 bearing has a higher flow velocity achieved to the screen  
10 itself over a wider range of the pump flows, which will  
11 assure that the screen stays clean, particularly at the,  
12 near the shut-off head of this pump or in the minimum  
13 recirculation mode, the velocity we would have gotten  
14 pretty low at the screen, and would have increased the  
15 probability of plugging the screen.

16       So, this new location also allows the pressure to be  
17 higher and to be more constant. That in turn maintains a  
18 more constant flow to the bearing, which will make the  
19 bearing stiffness more constant over a wider range of the  
20 pump operation. That's one design change that we had since  
21 the last meeting.

22       We have also discovered since the last meeting in  
23 this design, that the French actually have this type of  
24 pump, not the exact same model, but a similar pump in  
25 service in some of the French plants. And they have

1 actually done this modification; not the screen  
2 modification, but they've moved that port, we found, for  
3 very much the same reasons, which we kind of discovered  
4 after we come up with this design, that another group of  
5 engineers had actually found this also, that they get  
6 better performance out of the pump by just moving that port  
7 to the hydrostatic bearing to a different location there.

8 MPR Associates again is performing the design work  
9 for us. They're going to mockup and test this strainer  
10 design at Wyle Labs.

11 One of the things we discussed last time, we  
12 depicted a picture of what the mockup would look like.  
13 Since that time, we've obtained a pump, again similar to  
14 our pump design, not the same design, it's a single stage  
15 pump, but it has the same type of approach that this  
16 volute, that we can test more accurately, let's say, than  
17 we did the mockup. We'll actually be doing the strainer  
18 testing in a pump in the environment we need to have it  
19 with the debris in the water.

20 MR. GROBE: Bob.

21 MR. SCHRAUDER: Yes?

22 MR. GROBE: Just quickly, did  
23 you indicate that these pumps, this same design problem  
24 exists on pumps that are used in nuclear plants in France?

25 MR. SCHRAUDER: That is my

1 understanding right now. I checked yesterday to see if the  
2 French had these in their nuclear facilities, and was told  
3 that they do.

4 We are attempting to get the reports on this,  
5 modifications that they've made, from the French, and we're  
6 expecting to get those in the next couple of days, so we  
7 can look in detail at that.

8 MR. GROBE: I have the other  
9 interest; you indicated that they don't have these types of  
10 screens installed in the other pumps?

11 MR. SCHRAUDER: No, they don't.  
12 They found by simply moving the port, it was acceptable.  
13 We looked at that and decided that the added assurance of  
14 the screen provides us a level of protection that we want;  
15 and we're going to continue with the screen modification.

16 MR. GROBE: Okay, thanks.

17 MR. THOMAS: Bob, did you say  
18 you were doing both; you are going to move the -- is that  
19 the location?

20 MR. SCHRAUDER: Currently, right  
21 here is where the existing pumps take-off would be, okay.

22 MR. THOMAS: Okay. I see.

23 Thank you.

24 MR. SCHRAUDER: They were over  
25 here. And it's a down, and then into the port. So, it

1 changes, it's not a direct take-off of that anymore.

2       Okay. The next subject I'll talk about is the  
3 validation pump performance, validation. We actually did  
4 perform the first test on this with the pump clearances as  
5 they actually exist in the pump. Our rotodynamics analysis  
6 has predicted satisfactory pump operations.

7       What we'll do, is we're going to do two periods of  
8 this. The first one is called the baseline test. It  
9 helped us confirm the model that we created and took some  
10 baseline readings on vibrations for the pump, found where  
11 the critical speed of the pump was. We were able to find  
12 that. We did find in this test that the vibration was very  
13 steady on the pump throughout its flow regime that we  
14 exercised it through.

15       The next test that we'll do is, we have opened up  
16 the clearances, and we'll performed what we call the 2X  
17 Test, where the clearance are twice what they are normally  
18 in the pump. And we'll run the test again, and validate it  
19 with that isolated opening of the clearances due to debris  
20 impacting on the clearance, that the pump would continue to  
21 perform in a satisfactory manner.

22       The 2X was chosen, it's a maximum estimate that we  
23 currently have of what the tolerances and clearances would  
24 open up to. We're going to do a mockup test also on  
25 similar material to our pump to identify how much clearance

1 you would actually get, but we expect that the 2X clearance  
2 or twice the clearance will easily encompass the maximum  
3 amount of degradation we would see for the commission time  
4 of this pump.

5 Then after the, after the modifications are made and  
6 the pumps are reassembled, we'll of course have post  
7 modification testing on the pumps before returning them to  
8 service.

9 Field implementation. Again, the biggest challenge,  
10 particularly in Pump Room Number 2. Pump Room Number 1,  
11 which is the pump that we're using to perform the tests on,  
12 is relatively easy; as easy goes to disassemble a 6,000  
13 pound pump; but it's a fairly straightforward, pull the  
14 internals out of the pump, plenty of clearance there, then  
15 we move the pump to a plug in the floor where it can be  
16 lifted out and transported to the facility that's going to  
17 do the modifications on it.

18 The number two pump, on the other hand, has a lot  
19 more interferences by way of other pumps, other motors in  
20 the area, and it presents the biggest challenge to us to  
21 getting this pump out and maneuvered out of the building  
22 into the facility to modify and then to reinstall it.

23 So, there is about a month's work of activity  
24 between disassembly and reassembly of that pump in the  
25 schedule. And we have not had this pump apart in this

1 manner to take it out like this before, so we really don't  
2 know exactly how long it's going to take us to get it in  
3 and out.

4 There is a fair amount of rigging that's involved in  
5 there, and verification that our rigging points will take  
6 the six thousand pound load. There are conduit clearance  
7 that have to be made, taken out and re-put in when we get  
8 back. So, there is a lot of field implementation challenge  
9 in pump number two.

10 We have a team resolving all those issues, laying  
11 out the travel path for the pump, and how it will come out  
12 and be maneuvered up and through the room; and they're  
13 progressing with that.

14 We've actually gone and, the next picture shows a  
15 mockup, a full-size mockup of the internals of that pump  
16 that we built, so we can actually take it through the  
17 travel path and know exactly all the way through the plant  
18 that it will clear all the areas that we need to clear it  
19 to get it out of the Plant and then back in again.

20 The next picture just shows what I was talking  
21 about, some of the congestion in the pump room itself. In  
22 the wall back here, relatively close, the pump will come  
23 out the back. It has to go out 32 inches this way and then  
24 tilt up and level this way and then brought forward and  
25 maneuvered around the corner. So, it is, you can kind of

1 sense the congestion within that room. So, it's a delicate  
2 piece of rigging and a lot of attention is being paid to  
3 that.

4 So, that's where we're at with the high pressure  
5 injection pump modification. In summary, implementation of  
6 this mod will resolve in our mind a debris issue. We'll  
7 demonstrate by combination of testing in laboratory and in  
8 the plant, that the pump will perform under all of its  
9 required conditions. And that the schedule for doing this  
10 modification supports being able to do the normal operating  
11 pressure and normal operating test in mid to late July.

12 I gave Christine a schedule of the activities down  
13 at the lab where they're going to do the mockup, so that  
14 the inspectors can come down and see that in progress, as  
15 well as we'll be down there observing that also.

16 Any questions on the pump?

17 MR. GROBE: Yeah, I  
18 apologize. We have a conference call I think we're trying  
19 to schedule for next week to do some preliminary  
20 discussions with the technical staff on this modification;  
21 then a meeting on the 19th.

22 MR. SCHRAUDER: Right.

23 MR. GROBE: You mentioned  
24 earlier today or yesterday that there might be some testing  
25 that will be going on before that 19th meeting?

1           MR. SCHRAUDER:     Right, that's the  
2 schedule that I gave to Christine. It actually starts I  
3 believe on, around the 15th or 17th of June. I wanted to  
4 make sure that we had that schedule so you could get down.

5           MR. GROBE:         We'll have to  
6 make sure we discuss that during conference call.

7           MS. LIPA:         Right.

8           MR. GROBE:         Okay, thanks.

9           MR. SCHRAUDER:     Then, the next  
10 topic that I want to talk about is the Corrective Action  
11 Program. And kind of where we're at there, what we're  
12 seeing in the Corrective Action Program, what you're  
13 seeing, and some of the inspections that you're doing.  
14 And, Steve is going to talk a little bit too what the  
15 Quality Assurance Organization is doing.

16         This is an important topic for us. As we recall,  
17 the Corrective Action Program effectiveness was found to be  
18 a significant contributor to the events surrounding the  
19 reactor vessel head degradation; and its vitality and its  
20 viability are key for our future success, that we avoid any  
21 such problems in the future.

22         We strengthened both the procedure and the  
23 implementation of this program. I would not say it's  
24 perfect. We still have work to do in anchoring the program  
25 to the standards for all of the people involved in this



1 program.

2 We have seen some problems or shortcomings in some  
3 of the new implementation and the new procedure we put in.  
4 And I'll address some of those as we go forward.

5 In the meantime, we have I believe implemented some  
6 compensatory actions and oversight in the program to ensure  
7 ourselves that we're getting the adequacy out of the  
8 program we need to move forward.

9 At the same time that we're trying to anchor this  
10 program, due to, you know, the extensive reviews we're  
11 doing in the plant, design world, and across the site,  
12 really, we've generated over 12,000 Condition Reports last  
13 year and so far this year. So, we're trying to rebuild the  
14 program. At the same time we're moving a lot of Condition  
15 Reports, more than you would typically see in a given  
16 period for this amount of time to the process. So, that  
17 itself presents some challenges on oversight and assurance  
18 of quality of that program.

19 The first thing, I picked three topics that involve  
20 really the, the strength of the program. And the last one  
21 is one that's come up several times, is the rollover issue  
22 of Condition Reports, and I'll talk about that.

23 When you talk about the strength of a Corrective  
24 Action Program, you want to make sure that the Condition  
25 Reports that you're writing and evaluating, **A and**, that you

1 have the proper level of threshold that people will write a  
2 Condition Report. But once its written, you want to make  
3 sure it's appropriately categorized so it gets the  
4 appropriate amount of investigation into the condition and  
5 the corrective actions associated with it.

6 So, we look at categorization. We look at the  
7 quality of the Corrective Actions and the investigation  
8 that's going in; and then you also look at the timeliness  
9 of responding to the Condition Reports, once they're  
10 initiated. So, those are the three topics that I'll talk  
11 about, and then discuss a little bit the rollover process.

12 First one in categorization. Again, the new process  
13 became effective for us in March of this year. And it was  
14 issued as a FENOC Nuclear Operating Procedure. The major  
15 difference I would say, big change in that process is, it  
16 went from several different types of cause analysis. We  
17 have an apparent cause analysis, we had a basic cause  
18 analysis, and we had a significant root cause analysis.

19 The new process has eliminated the basic cause out  
20 of it. That is more consistent with industry standards.

21 Now, in addition to eliminating the basic cause,  
22 what we did, we upgraded the requirements for doing an  
23 apparent cause. So, the requirements there are stricter.  
24 There has to be a specified simple analysis method  
25 performed. And, we also required on apparent cause

1 analysis now, generic implications and extent of condition  
2 statements within the Condition Report Evaluation.

3 Some of the ones that in the previous system were  
4 called apparent causes would now be fixes. And some of  
5 them would remain just upgraded apparent causes. We did  
6 benchmark the process and believe that it is very  
7 consistent with some of the better corrective action  
8 programs within the industry.

9 Categorization is one of the things that we would  
10 measure, is how well the supervisor that does the initial  
11 review on the Condition Report when it's being initiated,  
12 how well they meet the categorization as specified in the  
13 procedure. And that is done by the Management Review  
14 Board, which is a collection of managers and senior  
15 managers at the site.

16 We have seen actually fairly good categorization.  
17 We've made what might be considered a number of changes,  
18 category changes, for instance; and we had a Condition  
19 Report written by an individual at the site that said, it  
20 seems like you are getting an awful lot of changes that the  
21 Management Review Board hasn't changed. They lumped  
22 together in that the significance level and the cause  
23 evaluation level. And we're looking at that.

24 What we found is, in the category changes, what we  
25 track very closely is where the Management Review Board has

1 felt they needed to upgrade from what the supervisor  
2 identified; no, this evaluation needs to be of a higher  
3 level than what you identified.

4 So, category upgrades, we would consider  
5 identification of a condition that's not a condition  
6 adverse to quality, where the Management Review Board says,  
7 well, yeah, for these reasons it is a condition adverse to  
8 quality. And then also a Condition Report that's  
9 identified as a condition adverse to quality, but the  
10 Management Review Board believes that it is a significant  
11 condition adverse to quality.

12 So, in the, not a condition adverse to quality  
13 upgraded by the Management Review Board to a condition  
14 adverse to quality, we've seen 125 upgrades since the March  
15 revision went in place. And since we put the revision in  
16 place, we've had about 2,500 Condition Reports initiated.  
17 So, 125 of them, we upgraded from what we call an NCAQ to a  
18 condition adverse to quality, and eight of them from a  
19 condition adverse to quality to a significant condition  
20 adverse to quality.

21 Where we've seen the biggest, what I'll call, delta  
22 between the management review and the supervisor's review  
23 is in the type of analysis that's required for the  
24 Condition Report. And the biggest one of that is,  
25 where the apparent cause versus the fix; where the old

1 process, they would all have been apparent causes, now some  
2 of them would be upgraded to apparent and some of them are  
3 saying, these are fixed and trend.

4 What we found is that the supervisors are more apt  
5 to put it into the apparent cause evaluation, then the  
6 procedure specifies it would be a fix and trend. We've had  
7 in the order of 250 of those, where the supervisor had said  
8 it's an apparent cause, and Management Review Board says,  
9 no, it's a fix and trend.

10 We've had some others. The next biggest one is 57,  
11 where the supervisor said, we've ~~taking~~ taken the action  
12 sufficient, we'll close this Condition Report. And  
13 Management Review Board said, no, you have a couple other  
14 actions, therefore, it's a fixed. So, that would be a  
15 category process change there.

16 Then, the rest of them are all, a lot fewer, and  
17 those are by far the two biggest hitters that we've seen in  
18 the recategorization.

19 So, we have not completed yet our review on the  
20 Condition Report that was written. We have looked closely  
21 at the datum and those are the kinds of things we found.

22 One of the other things I'll say we did find in that  
23 Condition Report was an expression by several people, I  
24 guess, this person was taking input from. What I'll -- the  
25 frustration over the feedback mechanism. That is, the

1 Management Review Board is changing these categories, and  
2 they're sending back information to us that says they've  
3 changed it, but you haven't given us enough details to why  
4 you changed it or what is the category, so we can learn  
5 from that process, rather than have you continue to  
6 feedback that we changed the category.

7 So, we're looking at better feedback mechanism to  
8 explain more completely why we changed the category or  
9 evaluation process.

10 What we have found is several of those that we sent  
11 back and said, no, we think it's this, they've come back to  
12 the Management Review Board and said, here's where I  
13 categorized it that way, this was my perspective of why it  
14 should be in this category. And in several of those cases,  
15 we have agreed with the initiator or the supervisor and  
16 said, yeah, we can see that, and it may well be more  
17 appropriate to be in that categorization. So, we've  
18 changed some of them back to the original identified one.

19 The next, the graph just shows what I've been  
20 discussing. This measures what, again what we watch very  
21 carefully is those Condition Report categories, significant  
22 or condition adverse to quality, that we've had to change  
23 and upgrade the performance of it.

24 We would like to get this into the 90 percent range,  
25 and we're doing reasonably well on meeting that goal right

1 now. It's, fewer than ten percent of the Condition Reports  
2 are upgraded as a result of management review.

3 MS. LIPA: Bob, how long have  
4 you been tracking this indicator, have you been tracking it  
5 for years?

6 MR. SCHRAUDER: No, we're tracking  
7 this -- well, I think they did track before, before the new  
8 process went into place also. The statistics that I've  
9 been looking at are since we've changed the process  
10 specifically, and that trend has also been improving on  
11 which ones we had to change also. And initially, it was  
12 like 29 percent the first month, and then 23 percent the  
13 next month, and 14 percent. This is all changes, not just  
14 the upgrades, but the evaluation process ones too.

15 So, we are seeing an improvement, as people become  
16 more acclimated to the new process. We're also looking at  
17 additional training, site-wide training, and we provided  
18 training to the Condition Reporting analysts, but we're  
19 looking at more training across the site on that process  
20 also.

21 Any questions on categorization?

22 The next thing I want to talk about is quality of  
23 the Condition Reports.

24 What we really, right now the measure that we have  
25 for quality is at the Corrective Action Review Board; and,

1 how often we have to reject an evaluation that comes to the  
2 Corrective Action Review Board.

3 One of the things I'll say is, this first slide  
4 shows the Corrective Action Review Board, by charter, by  
5 procedure right now, is not charted to look at apparent  
6 causes, but as an interim measure we've decided that they  
7 probably will look at the apparent cause analysis too,  
8 because of this change in the procedure, to make sure that  
9 people understand that.

10 That's where we've seen the biggest, I guess, delta  
11 between the procedure and what's actually coming to the  
12 Corrective Action Review Board. You can see right now  
13 we're running at about a 60 percent acceptance rate on  
14 those, and rejecting them for one reason or another.

15 We're looking at a hundred percent of them right  
16 now. Our intention is to look at all of them until we have  
17 confidence that they're being evaluated and dispositioned  
18 appropriately.

19 Recent changes we've made to help enhance the  
20 feedback is that the responsible manager of the section  
21 that's presenting the Condition Report to us, is present at  
22 the meetings, so that he can sense firsthand why, the kind  
23 of discussions we have and why we are rejecting some of  
24 these, and then we'll have communication back into the  
25 group. And when necessary, we see a specific area that's



1 struggling, we'll give one-on-one communication with that  
2 manager.

3 MR. GROBE: It took me  
4 awhile, but I think I understood the chart.

5 MR. SCHRAUDER: Yeah, well -- I'm  
6 sorry.

7 MR. GROBE: If I could, the  
8 height of the bar there is the indicator of the number of  
9 items processed, but you don't have a trend line indicating  
10 acceptance rate.

11 MR. SCHRAUDER: That's right.  
12 Actually, the legend is, yeah, the total height is the ones  
13 we've looked at, and the red are the numbers that we've  
14 rejected. It's going to have a trend line. It is a twelve  
15 month rolling average that will trend. We just now got the  
16 twelfth week for a couple days, so we haven't done it,  
17 twelve month rolling average on it right now.

18 MR. GROBE: Got it.

19 MR. SCHRAUDER: But the current  
20 rejection rate is right around 62 percent on here.

21 Scott, do you have something?

22 MR. THOMAS: Yeah, you said  
23 that items were rejected for one reason or another. Have  
24 you identified any specific reasons why some of these  
25 things have been rejected?

1           MR. SCHRAUDER:     That's the next  
2 thing I'm going to get to.

3           MR. THOMAS:       I'm sorry. I'll  
4 wait then.

5           MR. SCHRAUDER:     Some of the  
6 reasons why we've rejected it. Some of the reasons are,  
7 the evaluations just have not been in the CARB's mind  
8 thorough enough, we would reject it.

9           If it doesn't meet the new format. The new process  
10 has a specific format that apparent cause needs to follow.  
11 If it's not in that format, we'll just reject it, have them  
12 get it into the format and bring it back to us.

13          The thing to keep in mind is, many of these apparent  
14 causes were actually, because we had this large number,  
15 they were generated prior to the change in the procedure.  
16 Some of them still have to go through the new procedure  
17 process.

18          If, for instance, they had been generated as a  
19 basic, or went through a process when we put the new  
20 process in place, some of the basics became apparents and  
21 some of them may have gone to root cause. So, they still  
22 have to meet the new format, even though they were  
23 generated early in the process, and some of them were not  
24 meeting that new format. So, that would be a reason for  
25 rejection.

1       The Corrective Action identified was either not  
2 specific enough, in our mind, or measurable enough or  
3 clearly written or was not timely enough in the Corrective  
4 Action Review Board's mind; or the experience review  
5 required or the generic implications and extent of  
6 conditions may not have been performed, that would be  
7 reason for rejection.

8       And a lot of them, I sit in on a lot of CARB's and a  
9 lot of them have been rejected because they simply did not  
10 specify the analysis method that they used. May have been  
11 apparent in reading it what type of analysis they went  
12 through, but they didn't specify, and the procedure  
13 requires that you specify the simple analysis that you're  
14 using.

15       Again the interim compensatory measure for this is  
16 the CARB itself. Again, we're continuing to review the  
17 apparent causes, all of them right now, until such time as  
18 we see, we'll start relaxing on that when we see particular  
19 sections meeting the standards.

20       Some of them are doing very well. For instance, we  
21 have noted that the Design Engineering Section, which does  
22 a very good job at meeting all of the requirements on the  
23 apparent causes. And apparent causes come in pretty well.  
24 And we've had only one rejection I believe out of design,  
25 and that was as a result of just not specifying an analysis

1 technique.

2 So, we haven't yet, but we will move toward design  
3 in the direction of doing a sampling of their reviews,  
4 rather than a hundred percent of their analysis.

5 And we are looking at, we'll develop additional  
6 training for the -- we've trained the analysts, if the  
7 sections use them effectively, the analyst can help them  
8 make sure their Condition Reports are in, in the proper  
9 format and the like.

10 We've seen the organizations that effectively use  
11 their analysts do a much better job at getting these things  
12 in, but we'll provide additional training there.

13 We did generate a Condition Report on this issue  
14 itself, that we had a high rejection rate from the CARB, so  
15 that Condition Report is in the process now.

16 Scott, do you have a question?

17 MR. THOMAS: Do you have  
18 specific training for the folks that do the cause analysis,  
19 or apparent cause?

20 MR. SCHRAUDER: We have a specific  
21 training module, as you know, for root cause analysis. We  
22 are developing the training module for the, specifically,  
23 the apparent cause analysis.

24 The techniques, you can either use a root cause  
25 technique, or simple analysis techniques can be things like

1 brain storming, interviewing, methods of collecting the  
2 data and assessing the data. So, we have not had the  
3 training module put together on that yet, but that's one of  
4 the things we've discovered in this that we probably need  
5 to do some additional training on some of these simple  
6 analysis methods; where you think it might be reasonably  
7 clear and in some cases it's not. So, that's under  
8 development.

9 MR. THOMAS: How many of your  
10 folks have actual root cause training? I'm not asking for  
11 a specific number, just --

12 MR. SCHRAUDER: Hundreds, I would  
13 say. I don't know the exact number, but we did a lot of  
14 training in root cause analysis techniques.

15 MR. THOMAS: Okay.

16 MR. SCHRAUDER: I can get the  
17 number for you.

18 MR. THOMAS: That's not  
19 important.

20 MR. SCHRAUDER: It's a large  
21 number of people, it's not just one or two.

22 When these Condition Reports come to the CARB, we  
23 have a check-off sheet that we go through. It's not just,  
24 you know, our collective wisdom that judges the  
25 acceptability of them. There is a check-off sheet that

1 asks specific questions. You know, does the information  
2 present any significant doubt as to the cause of the  
3 events? Is the evaluation package, does it lack clarity or  
4 conciseness or relevance?

5 And we answer these questions yes or no, and then  
6 make a judgment as to whether we ought to accept the  
7 Condition Report and making comments back to the  
8 evaluators, or whether it ought to be rejected and redone  
9 and resubmitted to the CARB. So, it's a formal kind of  
10 check-off process that we go through.

11 One of the things that we're learning as we go  
12 forward in quality measurements of the Condition Reports is  
13 that some facilities actually have a specific grade that  
14 they'll assign to the Condition Report.

15 We have a new program owner for the, FENOC program  
16 owner for this program. And he's in the process of  
17 benchmarking and developing some FENOC-wide performance  
18 indicators, and quality is one of the ones we want some  
19 additional ability to measure some of the quality.

20 The next slide shows these root cause evaluations  
21 that come in. These are typically the more significant  
22 issues. What we have found, this is probably a measure of  
23 the degree of training that you're given in root cause  
24 analysis, but we found a much higher acceptance rate and a  
25 much higher quality in the root cause analysis. Our goal

1 there is a 90 percent acceptance rate. We are currently  
2 meeting, meeting that; and the root cause has continued to  
3 be pretty good for the most part.

4 Things that we would reject a root cause for are  
5 really the same kinds of things. We don't see as many  
6 format-type problems with root causes, because they pretty  
7 much have a cookbook that they can fit their analysis and  
8 their evaluation into.

9 But sometimes if the root cause, maybe in the minds  
10 of the CARB they present the process, doesn't look like  
11 they maybe got to the root cause by way of not  
12 appropriately considering some pieces of data. So, if we  
13 felt that they may have missed some ingredient factor, we  
14 would reject it.

15 Again, if the Corrective Action is not clear enough,  
16 or we didn't believe it would have the potential to fix the  
17 problem, we would reject it. And a significant condition  
18 adverse to quality is different than apparent, in that the  
19 corrective action is expected that it would, would not  
20 occur again.

21 An apparent cause, you look at the apparent reason,  
22 and you do your best attempt at getting it, but you expect  
23 some percentage of those may recur. A root cause analysis  
24 is different in that you expect that you will get to the  
25 root cause and you will not have that condition repeat

1 itself. So, Corrective Actions need to be more stringent,  
2 more clear, more specific, and very clearly expected to  
3 prevent the action from occurring.

4 We would also reject a root cause if we believe that  
5 the extent of condition was too shallow, didn't, you know,  
6 look too narrowly for your extent of condition. So, that  
7 would be a cause for rejection for a root cause analysis  
8 also.

9 So, that's kind of where we stand in our look at the  
10 quality of what's coming in.

11 The next issue is timeliness. And this is another  
12 issue that I'll say is exacerbated by the volume of  
13 Condition Reports that we're getting in.

14 What we found, frankly, was that we had a lot of  
15 Condition Reports. The procedure requires a specific  
16 period of time, a default time, if you will, that an  
17 Evaluation and Corrective Actions are expected to be  
18 implemented within. And sometimes you extend those,  
19 depending on the circumstances and when the, you know,  
20 schedule in an outage, for instance, to get it done. But  
21 there is nothing in the procedure that allows for a  
22 Condition Report to just go overdue. So, we had a large  
23 number of, based on our volume of ones that were just  
24 overdue, were not being extended, and not getting done.

25 In response to that, we put together a high level



1 management review team that meets daily on the status of  
2 evaluations and corrective actions looking at what's coming  
3 up in the next three days, what's currently overdue, what's  
4 the reason for it overdue.

5 We can extend due dates in that meeting, but we  
6 have found that to be very effective. And that the overdue  
7 rate now is, is substantially lower, and is meeting a goal  
8 of less than five percent. For the last several weeks,  
9 it's been down hovering near zero of overdue. So, people  
10 are appropriately extending or getting their evaluations in  
11 and their corrective actions done.

12 MR. THOMAS: So, this chart  
13 doesn't take into account a corrective action that's been  
14 extended four or five times?

15 MR. SCHRAUDER: Does not measure  
16 extensions. We believe that extensions are granted at the  
17 varying levels of the organization, and extensions are  
18 approved with management oversight of them.

19 So that, now, that was the thing I was going to  
20 mention at the end of this, is that timeliness is another  
21 issue. I'm used to seeing more performance indicators. It  
22 wouldn't be as meaningful for us right now, based on, you  
23 know, several of these have been extended out of post  
24 restart. So, the average age is one thing that you would  
25 typically look like, the average age of your Condition

1 Reports, Corrective Actions that haven't been completed  
2 yet. The average age to close a Condition Report is  
3 another one that you track.

4 We're not, we don't have those in place right now,  
5 because they wouldn't, wouldn't tell us much. As we move  
6 forward, we'll put together more timeliness of things too.

7 Go ahead, Jack.

8 MR. GROBE: What, what  
9 percentage in rough terms do you find -- you're involved in  
10 this group that meets daily, right?

11 MR. SCHRAUDER: No, I'm not. Mark  
12 is the chair of that meeting.

13 MR. GROBE: What percentage  
14 do you find that get extended?

15 MR. SCHRAUDER: I'd have to look  
16 at that.

17 MR. GROBE: Not precisely.

18 MR. SCHRAUDER: A lot right now.

19 MR. BEZILLA: It's stacks about  
20 this thick, and I'll say, it's probably about like five  
21 percent or less of that.

22 What we did was, about a month ago, we told the  
23 folks to lay out their work, match to their resource, and  
24 give us their due dates, and then they had to meet their  
25 due dates or hold them accountable to that; and if they had

1 trouble meeting their due dates, they need to come in and  
2 tell us ahead of time that they're having trouble, and  
3 we'll either help them meet their due date or we'll give  
4 them some relief on their due date.

5 And since we've done that in the last few weeks,  
6 we've had a lot less overdue items. In fact, we had a  
7 couple ~~day~~ **days** in row with like no overdue items. That's been  
8 very positive, I think.

9 MR. SCHRAUDER: In that though, if  
10 you look at the database, let's say, a lot of them would  
11 have had an extension somewhere along the line. That's  
12 what I was referring to. A lot of them in this process  
13 have been extended through the outage period. A lot of  
14 them are tied to plant conditions, where you're going to  
15 get. So, if the schedule moves, the due date moves out.

16 The process actually allows us to move those types,  
17 you know, where they're outage related and they're  
18 schedule, schedule driven, that an extension is not  
19 required to go through the same process, to move it with  
20 the schedule, so long as that, at the outage end date they  
21 are completed.

22 And that's part of our Restart Readiness Review, is  
23 that all the Corrective Actions, Condition Reports that  
24 were required to be completed for the outage are  
25 completed.

1           MR. GROBE:           I think I agree  
2 with you, that this timeliness information doesn't tell the  
3 whole story. It seems like three items. Sorry.  
4           This item is good, which is open corrective actions  
5 which are overdue, but you have two other indicators, one  
6 is number of extensions granted and the other is average  
7 age.  
8           MR. SCHRAUDER:       Right.  
9           MR. GROBE:           Extensions or  
10 indicator at a different level of organization management  
11 level.  
12           MR. SCHRAUDER:       That's correct,  
13 and we typically do in the processes that I've been  
14 involved with over at our other facility, we do track a  
15 number of extensions. And we do, we have a number of  
16 extensions on the Condition Reports, but it's a measure  
17 right now in the process that we're kind of in, that's not  
18 as meaningful, that once we get through this, this  
19 outage --  
20           MR. GROBE:           I understand.  
21           MR. SCHRAUDER:       -- and get them  
22 going. So, we will be adding those into our portfolio of  
23 Condition Reports that we use to look at the health of this  
24 program.  
25           The next one is the same type of graph, and it

1 deals with the evaluations. It's the evaluations that  
2 we've done by its due date, the same type of information.  
3 The first one was the corrective actions that come out of  
4 it. This one is actually hitting the situation, evaluate  
5 it to determine what you need to do to fix it.

6 The other timeliness measures that we look at, shown  
7 on the next one, is the supervisor review. It's expected  
8 that the supervisor, once an individual has initiated a  
9 Condition Report, it goes to supervisor review that  
10 categorizes it, makes sure it's appropriately categorized  
11 and clearly identifies the problem.

12 We expect that to be done within one day. And  
13 again, we expect that at least 90 percent of them to get  
14 done within one day or less. And we're hovering right  
15 around 90 percent right now on that. So, I think that's 89  
16 the last time we printed that out.

17 Again, that can be a condition of volume also, but  
18 the supervisors are doing a pretty good job right now  
19 getting through the Condition Reports on the day that  
20 they're initiated.

21 Then, the next review we looked at, is once the  
22 supervisor reviews it and moves it along, it's important  
23 that the shift supervisor and the SRO review it.

24 Now, it's not to say, if it's a significant  
25 condition impacting plant equipment, it's initiated, it's

1 typically walked to the control room, and control room is  
2 notified of, you know, potential immediate impact on the  
3 systems. But the process is, it's expected that the SRO  
4 would review the Condition Report within one day also of  
5 the supervisor's concurrence with, or not concurrence, but  
6 forwarding of the review.

7 We expect that to be 95 percent of the time, the SRO  
8 would get their review done within one day. Right now,  
9 we're seeing that it's right around 86 percent completed  
10 within one day. An overwhelming percentage of them are  
11 done within two days, so between 86 and 100 percent, nearly  
12 all of those are done within two days.

13 MR. GROBE: I'm not sure I  
14 understand this. Maybe I don't understand your process.

15 What review are you talking about here for the SRO  
16 review?

17 MR. SCHRAUDER: Well, every  
18 Condition Report that impacts plant equipment, that has any  
19 asset number in it that's a piece of plant equipment, goes  
20 to the control room for their review. They look at it for  
21 operability. They look at it for reportability. They look  
22 at it to understand what, you know, where the plant is at.

23 That's why, I mean, a lot of these Condition Reports  
24 are walked up to the control room when they're written for  
25 those very reasons. That if it's an immediate impact on

1 the equipment, the control room needs to know that right  
2 away.

3 That's what the SRO's review. Every Condition  
4 Report that is addressed to a piece of plant equipment or a  
5 configuration of the plant is reviewed by the SRO.

6 MR. GROBE: Does the CR first  
7 have to go through a supervisory review?

8 MR. SCHRAUDER: Yes, it does.  
9 Well, by the CREST software, before it progresses to the  
10 SRO, it needs to be progressed through the supervisor  
11 review.

12 MR. GROBE: And the SRO  
13 review timeliness, that does not include the amount of time  
14 that the supervisor took it?

15 MR. SCHRAUDER: That's correct.  
16 This is within 24 hours of the time that they get it, they  
17 have to have it reviewed in CREST.

18 MS. LIPA: Is this actually  
19 tracked in hours or days?

20 MR. GROBE: Days.

21 MR. SCHRAUDER: Days.

22 MS. LIPA: One day or two  
23 days or three days?

24 MR. SCHRAUDER: 24 increment is  
25 what is expected to occur in.

1 MR. GROBE: Are these

2 calendar days or business days?

3 MR. SCHRAUDER: Doesn't matter.

4 MS. LIPA: Calendar days?

5 MR. SCHRAUDER: Right, 24 hours.

6 MR. GROBE: So, my statistics

7 are a bit rough, but if you're 89 percent of the time the

8 supervisors are taking more than a day, and 86 percent of

9 the SROs are taking more than a day, sounds like less than

10 75 percent of your CRs aren't getting an operability review

11 in two days.

12 MR. SCHRAUDER: That could be, but

13 again, I'd say, when it impacts operability, it's walked to

14 the control room quickly.

15 MR. GROBE: Who is making that

16 decision, an operator?

17 MR. SCHRAUDER: The initiator and

18 reviewer are tasked with the responsibility of recognizing

19 whether something can impact operability or not.

20 And those statistics, Jack, if you recall, that's

21 the entire population of Condition Reports. I would say

22 probably, and this is a guess, 50 percent or less of them

23 involve plant equipment that needs to get to the control

24 room.

25 MR. GROBE: All right.



1           MR. SCHRAUDER:       So, it's not quite  
2 what you say. But you're right; I mean, with a delay by  
3 the supervisor and the delay by the control room, you could  
4 have issues there.

5           We think we're doing reasonably well in getting  
6 operability issues to the control room rapidly, even if it  
7 hasn't progressed through the software system.

8           MR. GROBE:           Well, I can't  
9 tell that from these indicators. And, I think I need to  
10 look a little bit more into this.

11          MR. SCHRAUDER:       I understand your,  
12 your insight on that.

13          MR. GROBE:           Okay.

14          MR. SCHRAUDER:       Any other  
15 questions on the timeliness review?

16          The next issue is a, is the rollover process. And  
17 the rollover has been identified both by our Performance  
18 Improvement Unit, some of the inspectors that have come in,  
19 I'll say confusing and a cumbersome process.

20          What a rollover is, it's a method of transferring  
21 the evaluation, whether the complete evaluation or partial  
22 evaluation of one issue identified in a Condition Report to  
23 be addressed in the another Condition Report that's looking  
24 at essentially the same thing.

25          We have found, and your inspectors have found, that

1 it is a difficult trail to follow sometimes. There have  
2 been cases where there have been multiple rolls; where it  
3 rolls from one Condition Report to another, and then that  
4 rolls up to another and you wind up doing about sometimes  
5 seven or eight of these all in one Condition Report.

6 Again, is exacerbated by the large number of these  
7 being processed. One area we have particularly seen this  
8 in is Containment Health, you know, where we had a lot of  
9 the walkdown type of CRs being documented and the like.  
10 So, that's why I say, it's generally been concentrated in a  
11 few specific areas.

12 We've actually found very few cases where we believe  
13 that the case, that the issue has not actually been  
14 effectively resolved. It's just a very cumbersome process  
15 at times to track them from, to which CR, to which CR did  
16 it go to and which one finally answered it. But we have  
17 typically found that if you persevere through that process,  
18 you will find the answer.

19 Now, Steve Loehlein is heading up a review team,  
20 because we got enough comments and saw enough concerns I'll  
21 say in this area that we wanted to really take a look at.  
22 So, I believe Steve is looking at all the restart or the  
23 0350 Condition Reports that had rollovers or rollintos in  
24 them; given us some more insight on that. Out of his --  
25 that's the independent assessment.

1           One of the other things I wanted to mention is that  
2 many of these rollovers occurred before we revised the  
3 procedure. And the new procedure has more clarity on the  
4 process for rolling over and what you're allowed to roll to  
5 another Condition Report; and more specifics on the process  
6 and documentation of a rollover.

7           So, to enhance that, we don't believe it's a bad  
8 idea necessarily to roll, roll over Condition Reports when  
9 the receiving one is evaluating virtually the same kind of  
10 circumstance. It has to be well documented and an easy  
11 trail. But it does appropriately align resources. I think  
12 if you just try to evaluate each one individually, you wind  
13 up using resources over and over again to look at the same  
14 thing. So, if properly administered, I'll say, and  
15 documented, it's not a bad process, but it needs to be  
16 rigorously applied.

17           We've seen problems with, the procedure right now  
18 requires that if you're rolling to another one, the  
19 receiving Condition Report has a corrective action in it  
20 that says, hey, I got this one, so that the reviewer knows  
21 that he's got to evaluate this other condition in it also.  
22 We've seen some problems in that area.

23           So, like I said, we have revised the procedure,  
24 tried to provide more clear guidance. Steve is going to  
25 give us some more insight into it and we'll further

1 strengthen the rollover criteria or, you know, if his  
2 evaluation and assessment so indicates, we will consider  
3 whether we want to continue the rollover process or not;  
4 and we'll strengthen that process if we keep it and feed it  
5 into the FENOC procedure.

6 Questions on the rollovers?

7 MS. LIPA: Thanks for that  
8 discussion, Bob. I know our Corrective Action Team  
9 Inspection will continue to look at corrective actions, and  
10 through that, I'm sure we'll look at some of these  
11 rollover.

12 MR. SCHRAUDER: Right.

13 MS. LIPA: Any other  
14 questions for Bob?

15 MR. SCHRAUDER: With that, I'll  
16 turn it over to Steve.

17 MR. GROBE: Steve, before you  
18 get started.

19 (Microphone adjustments.)

20 MR. GROBE: When you're  
21 thinking about this rollover situation, think about it also  
22 in the context of your performance indicators, and how you  
23 treat rollovers in the performance indicators. I don't  
24 think you want to discuss it here, because I'm not sure  
25 I've given you a chance to think about it.

1           MR. SCHRAUDER:       It is addressed in  
2 the procedure, Jack. If you roll it, it maintains its  
3 current due date. You can't roll it and get an automatic  
4 extension on it. So, it has to meet the original CR's due  
5 date or it has to be appropriately extended for that.

6           MR. GROBE:           Okay.

7           MR. MYERS:           Jack, one of the  
8 things, you know, we have a lot of experience at other  
9 plants. There has been a large number of CRs here. We  
10 don't roll, you know, at Beaver Valley we don't roll but a  
11 couple a week. It's not like the rollover process causes a  
12 lot of grief because we're not rolling over that many. It  
13 might be different at Perry, but at Beaver Valley I don't  
14 remember rolling over. Do you?

15          MR. BEZILLA:        That's correct.  
16 Just a handful a week at the most, is what I remember.

17          MR. GROBE:           Okay.

18          MR. LOEHLEIN:       Okay. Thanks,  
19 Bob.

20           I have two things to talk about today. One has been  
21 mentioned several times, and that is the status of the  
22 Independent Review of Condition Reports; and the other is  
23 an update on Quality Assessments of recent oversight  
24 activities.

25           In the Independent Review of Condition Reports, we

1 talked about this, or Bob mentioned the rollover issue, but  
2 we also decided, and Lew Myers and I talked about this; we  
3 heard enough reports about people having some difficulty  
4 tracking through all the volumes of Condition Reports and  
5 issues. And based on what Quality Assessment had been  
6 seeing in its oversight, we agreed that doing an  
7 independent review of the Condition Reports for the 350  
8 Restart would be a good thing to do.

9       So, Mark Pavlik, who is an auditor in the QA  
10 section, is the team lead for us on this. We have team  
11 members from other departments on site and from other  
12 plants.

13       Now, who we really targeted most often is people on  
14 this team, is either people from the Quality Organization  
15 or these Condition Reports analysts that in the process are  
16 advisors to the managers, are the people that we're trying  
17 to put on this team on a rotational basis, so they will  
18 carry back with them to their organizations the Lessons  
19 Learned from how to improve on the work that's done on the  
20 Condition Report.

21       So, the scope does include all of these 350 Restart  
22 Condition Reports and Corrective Actions.

23       Next slide, please.

24       The objectives are simple in this review. It's to  
25 confirm that the initially identified condition has been

1 evaluated.

2 The other objective is to track and confirm the  
3 issues that were rolled to another Condition Report were  
4 not lost. In any cases that we find problems in that area,  
5 then we use the Corrective Action Program to document the  
6 problems that we would find.

7 Next slide, please.

8 Now, as of last Tuesday, I think that's what May 27  
9 was. In the system, there are identified 1,783 0350  
10 Restart Condition Reports. They have associated with them  
11 about 7,700 Corrective Actions. Not all of those are  
12 restart related; about half of them are. But we're looking  
13 at quite a few nonrestart corrective actions, as long as  
14 they were associated with the 350 Restart Condition  
15 Reports. And the population of Associated Rollovers was  
16 identified in our system as 510. As we go through the  
17 reviews, these numbers can move around a little bit.

18 Next slide, please.

19 As of last Tuesday, we had reviewed 5,057 of the  
20 Corrective Actions of those 7,700; and that includes the  
21 Rollover Corrective Actions. In 87 percent of those cases,  
22 we were able to track the, how the Corrective Action  
23 relates back to the initially identified condition.

24 Approximately 13 percent of those cases were still  
25 in review, because that trail is not clear to us yet. So,

1 we're having to do additional reviews. And this is, we  
2 believe this percentage represents the difficulty that  
3 people are experiencing. When I get to some of the causes  
4 or some of the problems we've identified so far, we're  
5 starting to hone in on why that is.

6 MR. GROBE: Steve, just a quick  
7 question. Are the 510 on the prior slide, the 510  
8 rollovers, those are Rollover Corrective Actions, not CRs?

9 MR. LOEHLEIN: Well, actually,  
10 they can be either one. When a rollover occurs, it can  
11 either be a Corrective Action that's rolled over and then  
12 becomes a Corrective Action in the Condition Report that  
13 it's now in, which is the process that Bob Schrauder  
14 described. The receiving Condition Report gets a  
15 Corrective Action to identify it has received that issue.

16 So, it can be a CR, it can be a Condition Report  
17 that's rolled, or it can be a Corrective Action that's  
18 rolled. We treated everything from the Corrective Action  
19 standpoint from the back end of the process and count them  
20 all there. That way we have them all, whether they were a  
21 Corrective Action that was rolled or a Condition Report  
22 that was rolled.

23 MR. GROBE: Okay.

24 MR. LOEHLEIN: Of that 510,  
25 you'll notice here, as may have been suspected, the number



1 of percentage we're having difficulty tracking from front  
2 to back, is higher in those that involve rollover than the  
3 general population of the ones we've looked at.

4 On the next slide, what we've got so far is  
5 identified concerns, is overall, what's being seen as a  
6 general weakness in some cases, documenting the resolution  
7 and the identified concern.

8 There are cases, for example, where the closure  
9 statement says that appropriate actions were taken to  
10 correct the condition, as an example. You can't tell from  
11 a statement like that whether or not an appropriate action  
12 actually was taken. You can't confirm it. So, for anybody  
13 trying to review that on the back end, that's difficult.

14 In the cases that we're examining, we're finding  
15 that there is evidence that correct actions were taken, but  
16 they're not taken credit for in the process. That clearly  
17 is a lessons learned for people using this process, that to  
18 document accurately what actually settled the issue is the  
19 practice and the standard you want to have for the  
20 Condition Reports.

21 So, that's been identified on the Condition Report  
22 as a generic concern with a number of these.

23 Another identified concern has been, with cases  
24 where the evaluation did not address the full scope of the  
25 identified issue. Now, here, the most common type we found

1 here is in the Condition Reports involving valves. Most  
2 commonly, if there was a valve that was expected to require  
3 a repack of the stuffing ~~blocks~~ box. In a number of these  
4 cases, the condition -- initial Condition Report had  
5 additional recommended actions on it. It might be to  
6 verify fasteners or to replace them.

7 In the resolution of the Condition Report, the  
8 packing issue is either addressed as repacking or may  
9 provide a basis for why repacking wasn't necessary, but the  
10 issue about the fasteners doesn't appear in the explanation  
11 as to whether it was or was not addressed. So that, we  
12 have written up on a Condition Report as a generic issue to  
13 make sure that has not been missed.

14 And in these cases, we're finding when we spend the  
15 time to track down the people that did them, in most cases,  
16 we're finding there is an explanation, but once again, the  
17 documentation of the actions taken being sufficient is  
18 what, is what people are having difficulty with in  
19 reviewing the Condition Reports.

20 In these ones we've reviewed so far, we have two  
21 examples so far of incorrect actions. One example in which  
22 there had been an error made closing a Corrective Action to  
23 a work order number. That was an incorrect work order  
24 number. The work order number associated with, did exist,  
25 but it was not complete yet. So, that was a mistake. We

1 identified that on a Condition Report.

2 And, we had another one we found in which a  
3 procedure improvement had been recommended and was not  
4 picked up in a Corrective Action. Those are two specific  
5 examples we found so far.

6 MR. GROBE: Before you go  
7 on, the definition of acceptable. If this Condition Report  
8 involved a design engineering issue, does that acceptable  
9 include a review of the adequacy of the design work, or  
10 does the acceptable mean that you can track through and  
11 identify the specific actions that were taken and they  
12 appear to be relevant to the question?

13 MR. LOEHLEIN: I think if I  
14 understand your question, Jack, you're asking about whether  
15 we're looking at or this team was looking at, say, the  
16 adequacy of the cause evaluation associated with the  
17 Condition Report; is that what you're asking?

18 MR. GROBE: Right, or the  
19 acceptability of the corrective actions to address that  
20 cause evaluation.

21 MR. LOEHLEIN: Right. I would  
22 say, what you just described there is what we're going to  
23 be taking on and are doing right now in Quality Assessment  
24 as part of a focused assessment. I'll talk about that in a  
25 couple minutes here.

1 This is strictly a review here. I'm not doing it as  
2 an audit-type function. So, it is a bit more superficial  
3 in the sense that it's really looking, when you can track  
4 the end result from the initial condition; and so I would  
5 say that the level of intrusiveness is not there. It's  
6 really a review, and that's why we termed it that.

7 But what you're talking about is questions that we  
8 are looking at in the Quality Assessment area under a  
9 focused assessment. I'll talk about that in a minute.

10 MR. GROBE: Okay, thank you.

11 MR. LOEHLEIN: So, that's a good  
12 lead in to the next slide, which talks about some of the  
13 recent key activities that we've been observing in Quality  
14 Assessment.

15 First thing I would like to comment on is the, are  
16 the two tests that the other members have spoken about  
17 recently; the 50 pound per square inch and the 250 pound  
18 per square inch Reactor Coolant System Leakage Walkdowns.  
19 In both of these cases, Quality Assessment Assessors  
20 accompanied walkdown teams in Containment to directly  
21 observe how this was being conducted.

22 The 50 pound test in particular was, we thought, an  
23 excellent decision made by the organization, because it is  
24 not required by the process in place to demonstrate return  
25 to service, but it really was used by the line organization

1 to do a couple things that are going to pay off. That is,  
2 that set a baseline, and also everybody involved in these  
3 walkdowns had an opportunity, while the system was at a  
4 very low challenge, to locate the components and make sure  
5 they knew where they were. So, that was a very positive  
6 thing we in QA thought.

7 The next bullet I have up there is Emergency  
8 Preparedness. This is an area that's always important, the  
9 emergency preparedness be in good shape. And certainly  
10 with the plant focused the way it is right now, it's an  
11 opportunity for QA to evaluate whether the organization is  
12 properly focused on this important area as well.

13 We watched and observed the activities in the last  
14 few drills and exercise, and did note that the weaknesses  
15 that were identified in the April drills and so forth, in  
16 large part were corrected in the May exercise. So, we  
17 continue to observe the activities in there, but the  
18 weaknesses that did come up were being addressed by the  
19 organization.

20 In the area of Observations of Technical Issues  
21 Resolution, there we're seeing some good decision-making  
22 being made, especially in the area of the plant support  
23 center and in senior management involvement. We saw a real  
24 turnaround.

25 This is something I get to see firsthand, because I

1 watch a lot of management decision-making. And the  
2 priorities are being established and emphasis on the  
3 effective resolution of the technical issues. And this  
4 focusing within this plant support center of these issues  
5 seems to have had a real strong influence on getting the  
6 issues focused on for resolution and clarity of the plans  
7 and the challenges to success are discussed well there.

8 On the other side of the technical issues resolution  
9 thing, we have continued to look at the contractor  
10 oversight part of this. Right now, a lot of the action in  
11 terms of contractor oversight is now in the technical  
12 resolution area.

13 Some months back we talked about what QA was  
14 observing in Maintenance. And early on, the contractor  
15 oversight activity is really more in the engineering end.  
16 And we have identified some concerns on the owners  
17 acceptance process that's been used, and identified that on  
18 a Condition Report. We felt too heavy reliance on using  
19 contractors as part of the owners acceptance process, and  
20 that's been shared with Engineering.

21 We've identified some issues in the control of  
22 purchase orders revisions, and discussed that, we briefed  
23 that with the Engineering organization as well.

24 And we continue in the System Health Condition  
25 Reports area also. We're watching those real carefully,

1 because of the same issues that Bob Schrauder mentioned  
2 about the Corrective Action Program. This is an area,  
3 Jack, where we're watching real carefully that the  
4 Condition Reports have in them a cause analysis that  
5 clearly substantiates the basis for the conclusions in the  
6 cause analysis.

7 And this is an area where if the evaluator is too  
8 cryptic or too brief in his description of how the solution  
9 is properly resolved, it will make it unclear for posterity  
10 as to why it was the right solution. So, that is an area  
11 we continue to watch and we think there is still room for  
12 improvement there.

13 MR. HOPKINS: Let me ask a  
14 question here, Steve. The last bullet about oversight  
15 vendor activities.

16 MR. LOEHLEIN: Right.

17 MR. HOPKINS: Are you just  
18 referring to on-site vendor activities or also off-site  
19 vendor activities?

20 MR. LOEHLEIN: The reason I added  
21 that bullet and hadn't spoken to it yet is we are  
22 reabsorbing quality control function back into the quality  
23 assessment, quality assurance umbrella. So, I thought I  
24 would add a bullet here on the type of off-site vendor  
25 activities we recently been involved in; like going to,

1 going out to Oklahoma to take a look at the radiographs  
2 that were done on the cyclone separator for decay heat  
3 pumps is one example.

4 Recently, just this past week, have been involved at  
5 a vendor shop in Utah to take a look at the troubleshooting  
6 that's being done on the service water valves for the  
7 containment air coolers.

8 We also were recently involved down in Cincinnati  
9 with Makeup Valve 3 looking at the certification of the AOP  
10 parts associated with that.

11 And so, we're looking now that they're part of the  
12 Quality Assurance Organization as to how we can be more  
13 effective in some of the vendor oversight, some of the  
14 off-site vendor oversight activities, because throughout  
15 the industry there have been some issues and we've had some  
16 issues with vendor supplied equipment.

17 MR. HOPKINS: Okay.

18 MR. LOEHLEIN: So, we're getting  
19 more active there. But I put that there, because they're a  
20 recent addition to Quality Assurance.

21 MS. LIPA: Steve, before you  
22 go on, you mentioned emergency preparedness, and that's an  
23 important area to us too. I neglected to mention earlier,  
24 we have a baseline inspection next week that is looking at  
25 your evaluated emergency preparedness exercise. They will



1 be here the full week, but they'll be focusing on that  
2 exercise the one day.

3 MR. LOEHLEIN: Right. Thank  
4 you.

5 MR. GROBE: I apologize for  
6 going backwards.

7 MR. LOEHLEIN: That's okay.

8 MR. GROBE: But you've keyed  
9 me into a thought. At the end of every outage, you're  
10 required to do an American Society Mechanical Engineer  
11 Leakage Test on the Reactor Coolant System, a pressurized  
12 test to look for pressure leakage. Is that normally done  
13 hot?

14 MR. LOEHLEIN: I believe that's  
15 done in Mode 3.

16 MR. GROBE: I'm still  
17 pondering the DH 11 and 12 valves and why they were  
18 leaking. So, normally, those are tested hot. So, you may  
19 have not seen leakage if in fact it's a temperature driven  
20 issue. Okay. Thanks.

21 MR. MYERS: If it's very  
22 minor --

23 MR. GROBE: It's minor at 50  
24 pounds, but 250 pounds...

25 MR. MYERS: Let me finish. If

1 it's minor and it stays dry, which you find more on that,  
2 and it stays that way on up, then those valves that were in  
3 it, was close.

4 MR. GROBE: Right. So, you  
5 may not have seen it.

6 MR. MYERS: That's correct.

7 MR. GROBE: All right.

8 MR. LOEHLEIN: Okay, next slide,  
9 please.

10 Under some of the current activities, an important  
11 one is this Focused Assessment, Jack, that we talked about,  
12 or I mentioned just a few minutes ago, a Focused Assessment  
13 on Corrective Action Program. That's because we know that  
14 the organization made some stiff changes to the process on  
15 March 1st.

16 The early data we had did not show improvement in a  
17 couple key areas on implementation; specifically in the, we  
18 didn't see improvements yet in the numbers on the quality  
19 of the cause analyses and some other important parts of the  
20 process.

21 And the CARB data that you saw, Corrective Action  
22 Review Board data, showing their rejection rate also, we  
23 have a lot of indicators that this was an area deserving of  
24 a Focused Assessment.

25 What we do in a case like this, it's more like the,

1 the older common, done commonly years ago, used to call an  
2 audit, a checklist type, where we have a number of things  
3 we'll be looking at. We'll be interviewing people that are  
4 involved in the process, that includes both managers and  
5 lower level interviews. We'll continue to review the  
6 Corrective Action Review Boards, what they're doing.

7 We're going to also do a lot of random selection of  
8 Condition Reports from various categories, and we'll sample  
9 rollovers as well, to see that they have actually been  
10 completed through the process and all the steps the way  
11 they should have been, and take a look at what that data  
12 tells us. And we'll also verify compliance with the  
13 program itself. So, that is something we're doing right  
14 now in this quarter.

15 We'll continue in the next few months over the next,  
16 during the summer, continuing to do drills in the emergency  
17 preparedness area, we'll continue to observe those.

18 Then I put the last bullet down. It's just sort of  
19 a general kind of things that we do all the time and  
20 incorporate into our daily oversight activities, as the  
21 oversight of Management Decision-Making, Safety Culture,  
22 Radiation Protection and there is a lot of activity right  
23 now on the regulation changes for our Security Program.

24 MR. HOPKINS: Just mentioning a  
25 Security Plan, I would think a lot of those changes would

1 be generic to the other FENOC plants also.

2 MR. LOEHLEIN: That's correct.

3 MR. HOPKINS: So, you're in  
4 contact then with the other FENOC QA Organizations?

5 MR. MYERS: Absolutely.

6 MR. LOEHLEIN: Well, I know that,  
7 we talk every day, but I can't, you know, security being  
8 safeguard, we don't talk openly about a lot of things, but  
9 yeah, we do communicate with our, we communicate daily with  
10 QA from the other two sites, and one of the topics that is  
11 appropriate is the security part of that.

12 MR. MYERS: We also have a  
13 lead person, our corporate office for security issues.

14 MR. HOPKINS: I was just  
15 concerned that, you know, that I figured a lot of the  
16 changes would be the same from plant to plant; and I wanted  
17 to make sure the QA Organizations are --

18 MR. LOEHLEIN: That is true, and  
19 that kind of conversation goes on, Jon, every time there is  
20 a projected change in security level as well.

21 MR. HOPKINS: Okay.

22 MS. LIPA: Just to give a  
23 time check, we have about 15 minutes for the next two  
24 sections.

25 MR. MYERS: Okay.

1           MR. LOEHLEIN:       Mike Ross is going  
2 to take over.

3           MR. ROSS:           Thank you, Steve.

4           Good afternoon. Our Davis-Besse Plant Support  
5 Center is in full operation. The following items have been  
6 completed. We developed an issues list and it currently  
7 has about 84 items on it. These issues are being reviewed  
8 in detail against the standard checklist to identify  
9 restart issues and obtain our agreement that the resolution  
10 is a quality and lasting type fix.

11          An Action Item Database has been created with owners  
12 and due dates. And the issues identified as needing  
13 decisions or extra assistance are being brought to the  
14 management team in a timely manner.

15          As clarity is brought to new issues, fragnets and  
16 part needs are developed and owners assigned, they are  
17 transferred to the Outage Control Organization for field  
18 implementation.

19          To ensure quick resolution to supply issues, the  
20 Corporate Director Supply Chain has been stationed on site  
21 and is part of the support center.

22          Listing of modifications has been developed with  
23 field implementation dates and is being tracked and  
24 prepared for field execution.

25          The Condition Report Database has been reviewed to

1 identify those issues not yet through with the evaluation  
2 process that may be restart. This will assure no hidden  
3 restart issue resides in that Corrective Action Database.

4 We do believe we know the issues that need to be  
5 resolved.

6 Next slide.

7 Our focus is on early identification of new issues  
8 and proper resolution of existing issues. This includes  
9 delivery of a quality resolution to the field  
10 organization.

11 Several issues are receiving extra focus. These are  
12 High Pressure Injection Pump Modification, that's already  
13 been discussed by Bob Schrauder. The Electrical Transient  
14 Analysis and the Safety Feature Actuation System Relays.  
15 Both have been addressed by Jim Powers.

16 Other issues that are receiving extra focus; the  
17 Air-Operated Valve Program. We have identified some  
18 emergent work in this area, with identification of three  
19 new work items. This is the addition of air reservoirs for  
20 service water valves 1428, 1429, and 1434. It appears this  
21 will revolve without significant impact.

22 The Plant Block Walls Seismic and Tornado Loading  
23 issues. As a minimum, we will need a procedure change to  
24 resolve one issue dealing with the tornado differential  
25 pressure, and additionally a modification to the boric acid

1 tank room door to address the seismic ability of a wall  
2 during a postulated line break in the area.

3 The Thermal Overload Bypass for Safety-Related  
4 Motors issues. It appears we will have some field work for  
5 that item and a full understanding of and resolution for  
6 its being developed.

7 Additionally, we identified two modifications. They  
8 are designated, that are designated for restart. The  
9 Containment Spray Pump Cyclone Separator addition. This is  
10 the addition of a separator to ensure postulated sump  
11 debris does not affect the containment spray pump seals. A  
12 Boron Precipitation modification has been identified. This  
13 is an enhanced method of ensuring the backup capability to  
14 provide Boron precipitation flow after a postulated  
15 accident.

16 It should be noted, both of these items add  
17 significant safety margin to our plant. These items do not  
18 impact our overall schedule.

19 In conclusion, we believe we have scrubbed through  
20 the present issues and have a good understanding of what  
21 needs to be done. We continue to believe all issues are in  
22 fact resolvable.

23 MR. HOPKINS: Let me ask, Mike,  
24 the Boron Precipitation Modification, is that considered a  
25 restart issue?

1 MR. ROSS: It's a Mode 2  
2 issue.

3 MR. HOPKINS: Okay, thank you.

4 MR. GROBE: Just one quick  
5 question. I've heard these two issues discussed; the  
6 Cyclone Separator Containment Spray and Boron  
7 Precipitation. For quite awhile now they've been on the  
8 engineering issues list. What causes something to get  
9 added to the modification list?

10 MR. ROSS: We go through our  
11 checklist to verify that it has an issue. We bring it to  
12 senior management. We get a firm decision early. And we  
13 put it through the process and get it started. That's the  
14 value we bring to the organization.

15 MR. GROBE: Okay, and you  
16 indicated that you also reviewed other CRs, and I assume  
17 that covers everything that's on Jim's Engineering Issues  
18 list?

19 MR. POWERS: That's correct.

20 MR. GROBE: And identified  
21 other key issues that could be risk items.

22 MR. ROSS: That's correct.  
23 We probably started with Jim's Engineering Issues.

24 MR. GROBE: Okay, good.

25 MR. ROSS: If there is no



1 more questions, I would like to turn it over to Mike

2 Stevens for Schedule Milestones.

3 MR. MYERS: Why don't we skip

4 over that one. Let's go to the Performance Indicators. I

5 think we're running out of time, correct?

6 MR. GROBE: Okay. I mean,

7 Clark's gotten skipped on multiple other occasions.

8 MR. PRICE: Okay, thank you,

9 Mike.

10 Good afternoon. Can you hear me?

11 I would like to conclude our presentation today with

12 an overview of our progress on the O350 Restart Checklist

13 that Christine presented at the beginning of the meeting.

14 Then take a quick look at a couple of our charts to show

15 our overall restart progress on our restart required

16 actions.

17 The next three charts provide a summary of our

18 status on the 0350 Panel's Restart Checklist Items. These

19 charts are colored to show where we are in the discovery

20 and implementation actions.

21 You'll see, and also if you have trouble reading, I

22 apologize on your handout, I know black and white is very

23 difficult to discern between the colors. There is a chart

24 over on your righthand side on the wall that also lays this

25 out.

1       You'll see on each chart that we are complete with  
2       our discovery plans for each of the Checklist Items. So,  
3       I'll mainly focus my discussions on progress on our  
4       implementation plans.

5       On Checklist Item 1A and 1B. They both address our  
6       technical and nontechnical root causes and other root  
7       causes we've done in the Management/Human Performance  
8       area. We completed all our 0350 Restart Actions under  
9       these two items.

10       Checklist Item Number 2, A and B, address the  
11       reactor vessel head replacement and our restoration of the  
12       containment vessel. 2A is colored in light blue.  
13       Basically, it's on hold waiting for our Mode 3 full  
14       pressure test. And 2B is essentially complete, waiting on  
15       plant conditions to allow completion of a few local leak  
16       rate tests that we have remaining.

17       In the 2C area, that deals with restoration of our  
18       containment systems, structures, and components. And as  
19       Mark Bezilla discussed at the beginning of our  
20       presentation, we're closing in on final containment closure  
21       and turnover of the building and systems to Operations.

22       Mark addressed some closure packages that we still  
23       have that are being worked on in the discovery area; and  
24       we'll have those done hopefully by the end of this week.

25       On Checklist Item 2C-1, that's in our Containment

1 Emergency Sump, which we've completed. We discussed that  
2 project several times, and in the meetings. And all work  
3 on that, and the inspection activity is complete. We have  
4 a couple follow-up items that we're working on as a result  
5 of the inspection, and should have those to the inspector  
6 this week.

7 Our corrective actions for Checklist Item 2D, which  
8 looks at systems containing boric acid outside of  
9 containment building are also nearing completion.

10 If there is no questions on that slide, I'll move to  
11 the next one.

12 The next slide lists ten of our safety significant  
13 programs that are on the O350 Checklist. As you can see,  
14 we have completed and identified, the identified corrective  
15 actions in each of the implementation plans for the first  
16 eight programs. Those are either inspection complete or  
17 continuing with ongoing NRC inspection activity.

18 The Radiation Protection Program actions are 97  
19 percent complete, and which is the 3H line item. They will  
20 be totally complete the first of July, which will support  
21 an NRC inspection that will be starting on July 14.

22 Then, our final and most recent Checklist Item,  
23 which is 3I, which is underway, is the Corrective Action  
24 Plan to address Checklist Item that deals with completeness  
25 and accuracy of NRC records and submittals. And we are

1 currently working on that action plan, which essentially  
2 includes procedures for the validation of NRC  
3 correspondence.

4 Training for our site employees; we have our  
5 training program developed for that and now we need to  
6 deliver that to our employees.

7 And extent of condition review to determine what we  
8 may have submitted on any previous correspondence in the  
9 past that may not have been totally complete and accurate.  
10 That is just a starting and we're putting that plan  
11 together.

12 Next slide, please.

13 Okay. In Item 4A-B, those contain Corrective  
14 Actions that were identified through Management/Human  
15 Performance Improvement Plan. We continue to make good  
16 progress in this area, and as Lew discussed earlier we have  
17 more work do to, but we have that plan scheduled and should  
18 be getting through that in the next month or so.

19 Our Checklist Item 5 covers our Readiness For  
20 Restart in both Systems and Operations Readiness. We've  
21 completed 91 percent of the Condition Report Evaluations  
22 and Corrective Actions that have been identified through  
23 our System Health and our Design Calculation Resolution  
24 Plan.

25 We also continue to enhance our Restart Readiness

1 Review Practice that we discussed earlier to ensure that we  
2 have comprehensive review of our readiness to make mode  
3 changes and ultimately for plant restart.

4 Then we have Checklist Item 5D, which is the test  
5 program which is 72 percent complete, which Mark Bezilla  
6 also addressed earlier, where we have completed so far our  
7 50 pound and 250 pound test of the Reactor Coolant System.

8 Checklist Item 6 covers the licensing issues  
9 associated with the new reactor vessel head, and is  
10 complete, including the inspection activity, and closed  
11 out.

12 Then Item Number 7 contains our Confirmatory Action  
13 Letter; our responses, which are all progressing, and also  
14 in that area we cover our final Integrated Restart Report  
15 that we are currently working on.

16 If there are no further questions on that, I'll  
17 move on to the next final two slides.

18 Okay, these final two slides show at a high level  
19 our overall progress on our actions we've identified as  
20 required for restart. Many of these actions go well beyond  
21 the requirements of the O350 Checklist. As a matter of  
22 fact, approximately 60, we have approximately 60 percent of  
23 our total restart required Condition Reports and Corrective  
24 Actions, are actually over and above the O350 identified  
25 Checklist Items.

1       The first slide shows the work-off of our Condition  
2 Report Evaluations for the Condition Reports that we have  
3 classified as restart during our entire restart effort. As  
4 you can see, we're closing in on nearing completion of  
5 those evaluations. They leveled off a little bit, but  
6 they're leveled off at a manageable level.

7       We continue our daily review classification of  
8 Condition Reports for restart by the Restart Station Review  
9 Board, which we discussed in previous meetings. Some of  
10 the recent additions that show up in the, these evaluations  
11 or Condition Reports are the results that were discussed  
12 earlier from our 50 pound and 250 pound test, and our  
13 walkdowns of the Reactor Coolant System that Mark Bezilla  
14 discussed at the beginning of the presentation.

15       And approximately 100 of the Condition Report  
16 Evaluations identified here out of roughly the 300  
17 remaining to go, are to support the first mode change to  
18 Modes 4 and 3. As Mark Bezilla discussed earlier, those  
19 are all scheduled out now with due dates that support the  
20 milestones.

21       The final slide shows our work-off in our Corrective  
22 Actions that have been classified as restart from our, from  
23 the previous Condition Reports that I just talked about.  
24 Again, all the Corrective Actions have scheduled due  
25 dates.

1 We currently have, as you can see here, around 800  
2 that are open. Out of those, 397 of those open Corrective  
3 Actions are scheduled to complete to support our first Mode  
4 4, and changes to Mode 4 and 3. And so, we're working  
5 well, and have that, have that all laid out.

6 In conclusion, I would like to say that we are  
7 making good progress, and we have confidence that we will  
8 complete both our 0350 and the non0350 Restart Actions in  
9 support of our Restart Milestones.

10 Are there any questions?

11 MS. LIPA: Thank you. No.

12 MR. PRICE: Okay. If you  
13 don't have any, I'll turn it back over to Lew for closing  
14 comments.

15 MR. MYERS: The past month has  
16 been pretty significant. We've had, we started out last  
17 meeting with several organizational changes. We think  
18 those organizational changes have been very effective for  
19 us.

20 We changed our direction, which had a significant  
21 impact on our schedule. We focused on modification. We've  
22 already test ran the pump. Pulled the impeller on the one  
23 A pump. We're planning to pull the Number 2 pump now.

24 We continue to look forward to the, lots of  
25 activities in the Management/Human Performance area,

1 especially in the Safety Culture area in the next couple of  
2 months.

3 We were very pleased with the performance of our  
4 operators in the 250 pound test; and the overall, with the  
5 performance of the plant, even though there is some work  
6 for us to do there.

7 The modification of the HPI Test, we believe will be  
8 successful. And we'll be through that in July, early July,  
9 allowing us to, to be ready for Mode 4, and Mode 4 and Mode  
10 3 pressure tests in the middle of July. And shortly after  
11 that, we'll be, from a plant standpoint, be ready to, look  
12 at restart of the unit, which right now we talk about the  
13 first part of August, from our perspective.

14 We demonstrated consistently that we're able to work  
15 off the corrective actions at about 140 a week. And  
16 consistently now, if you look at our back logs and all, it  
17 looks like the middle of July is easily done for Mode 4.

18 Checklists; Item Number 5 indicates we're about 91  
19 percent complete with activities for Restart.

20 Once again, you know, I think we demonstrated today,  
21 we made good progress. We ran all four Reactor Coolant  
22 Pumps for a couple of hours. We drew a vacuum -- put a  
23 bubble in our pressurizer. Didn't draw a vacuum. And went  
24 through a 250 pound test that performed well.

25 We got, we really bounded the work. Now, I think



1 Mike Ross's group is going, did an excellent job of  
2 bounding the work, and laying the work out on the diesel  
3 air dryers. He got that lined out, assuring the parts are  
4 here. We know what the work is.

5 So, we really feel very solid right now about our  
6 ability to reach the schedule of activities at the first  
7 part of August.

8 So, with that being said, we continue to make  
9 progress, and we look forward to our next meeting. Thank  
10 you.

11 MS. LIPA: Thank you, Lew.

12 Well, that ends the business portion of our meeting  
13 today then. What we're going to do is take a ten minute  
14 break, and we'll go to public comments and questions.

15 MR. GROBE: Lew, I need to  
16 excuse myself. I have a meeting tomorrow morning which  
17 requires me to fly out tonight. Bill will continue  
18 chairing the meetings tomorrow afternoon and this evening.  
19 (Off the record.)

20 MS. LIPA: Okay, we're ready  
21 to begin with the public comment/questioning period. We  
22 would like to open up the microphone for anybody who has a  
23 question for us or a comment to address for the NRC folks  
24 here.

25 Jack Grobe did have to leave, but Bill Ruland, the

1 Vice Chair, and the rest of us are still here.

2 What we would like to do is start with local members  
3 of the public first, and then we would like each person to  
4 limit their time to five minutes. And, at the podium we  
5 have a sign-in sheet. And, if you want us to follow-up  
6 with you, feel free to put your phone number, that way if  
7 there is anything that we didn't fully address, we can  
8 contact you later.

9 So, is there anybody who would like to come up and  
10 ask a question or give us a comment today?

11 Are there any members of the public that are not  
12 local that would like to come up?

13 MS. RYDER: Hi. My name is Amy  
14 Ryder. I'm with Ohio Citizen Action. I just have a few  
15 questions.

16 One is that, I might have missed this earlier in the  
17 meeting, because I was late, but if the Reactor Pressure  
18 Test does not identify conclusively where the additional  
19 rust is coming from, what happens next?

20 MS. LIPA: You talking about  
21 on the lower part of the vessel?

22 MS. RYDER: Right.

23 MS. LIPA: Well, right now,  
24 the NRC is evaluating Licensee's plans on how they're going  
25 to test that and how they're going to determine it. So, we

1 should know more before that test. And then once we get  
2 the results of that test, we'll be able to figure out what  
3 the information means. But I really can't tell you yet how  
4 we're going to process that information.

5 MS. RYDER: Will the source of  
6 that rust have to be identified before restart is completed  
7 conclusively?

8 MS. LIPA: The source of the  
9 rust. Well, I think what we'll be doing is making sure we  
10 understand the Licensee evaluation of it and what it means  
11 and whether that makes sense and whether there is an  
12 indication of a leak. That's my understanding right now  
13 where we're headed with that.

14 MS. RYDER: So, there is a  
15 possibility that it could restart not knowing where that  
16 rust came from?

17 MS. LIPA: Well, I don't  
18 really want to say that right now, but I think as we get  
19 closer to that test and after that test, we will be able to  
20 answer more fully your questions on that.

21 Do you have any comments on that, Bill?

22 MR. RULAND: The key criterion  
23 is that the reactor itself has no unidentified leakage, not  
24 that the rust stains have or have not been identified.

25 MS. RYDER: Okay.

1 MR. RULAND: So, theoretically,  
2 there could be some possibility they would not identify the  
3 rust stains, or excuse me, the Licensee will identify the  
4 rust stains. But if we were satisfied that the Licensee  
5 did a sufficient test to make sure there was no  
6 unidentified leakage --

7 MS. RYDER: Leakage.

8 MR. RULAND: -- we wouldn't  
9 have any problem with that.

10 MS. RYDER: Okay.

11 MS. LIPA: No, actually it's  
12 pressure volume leakage.

13 MR. RULAND: Right.

14 MS. LIPA: Pressure volume  
15 leakage is the criteria.

16 MS. RYDER: Okay. My second  
17 question is, whether or not the OI Investigation Report  
18 will be issued before restart is permitted.

19 MS. LIPA: I can't address  
20 that. That's all I can say.

21 MR. RULAND: The OI Report will  
22 be issued when the OI Report is ready.

23 MS. RYDER: Will you allow the  
24 plant to restart if that OI Report is not completed; I  
25 guess maybe is the more accurate?

1 MR. RULAND: That's all I can  
2 say; the OI Report is issued when it's issued.

3 MS. RYDER: Right. I  
4 understand you don't have control over when that's issued,  
5 but will the panel want to know what the report says before  
6 you allow FirstEnergy to restart Davis-Besse?

7 MS. LIPA: I think that's a  
8 question we'll have to address at a later time too, Amy.

9 MS. RYDER: Okay. Thanks.

10 MS. LIPA: Does anybody else  
11 have any questions for us?

12 Okay. Well, just a few things, then I'll check one  
13 more time if there is anybody else.

14 We will be returning tonight at 7 p.m. to give a  
15 summary to anybody who wasn't here; and if anybody wants to  
16 come back and ask questions, that's fine.

17 And then next month, July 9th, our public meeting  
18 will be at the Oak Harbor High School. And we're going to  
19 go for the same times with an afternoon meeting and evening  
20 meeting.

21 Then, we're also holding a meeting on June 19th in  
22 headquarters, but we'll have bridge lines for folks that  
23 want to call in and listen to that meeting. And the June  
24 19th meeting we'll focus on the high pressure injection  
25 pump.

1           Was there anyone else that came up with a question  
2 while I was talking?

3           Okay. Well, then thank you for coming. Good day.

4 (Off the record.)

5                                 ---

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 CERTIFICATE

2 I, Marie B. Fresch, Registered Merit Reporter and  
3 Notary Public in and for the State of Ohio, duly  
4 commissioned and qualified therein, do hereby certify that  
5 the foregoing is a true and correct transcript of the  
6 proceedings as taken by me and that I was present during  
7 all of said proceedings.

8 IN WITNESS WHEREOF, I have hereunto set my hand and  
9 affixed my seal of office at Norwalk, Ohio, on this 13th  
10 day of June, 2003.

11

12

13

14

Marie B. Fresch, RMR

15

NOTARY PUBLIC, STATE OF OHIO  
My Commission Expires 10-9-03.

16

17

18

19

20

21

22

23

24

25