

1 And said you have a separate recall looking at the  
2 value added by QA. On a broader scale what about  
3 independent oversight in general? And I mean you  
4 have got the line management, and certainly that's  
5 where your focus has been. Did you look at --  
6 When you have got -- I think somebody brought it up  
7 earlier -- ISIs, obviously I would say the role of  
8 QA, the off-site review committees, anybody in the  
9 industry, peer reviews things like that, were there  
10 indications coming in from them?

11 MR. MYERS: We have gone back and we have  
12 looked at the QA process. You know, I have  
13 personally reviewed some of the documents that QA  
14 had produced on the corrective action process.  
15 They told us that our root causes were not very  
16 good -- in 1999 I believe it was -- and that we had  
17 a lot of repeat situations and we weren't  
18 trending. As a senior team we didn't do much with  
19 that. They also indicated that the head was  
20 cleaned and thorough in 2000. It was obvious that  
21 the QA person never really went down at the head.  
22 So there are some issues there we're dealing with.

1 Same kind of thing, involvement and really  
2 validation and oversight. So there's some issues  
3 in the quality area that we have had to address,  
4 and Bill's addressing those now.

5 MR. LOEHLEIN: I think you're talking about  
6 the company's nuclear review board. You did look  
7 at that too.

8 MR. MYERS: We had Darrell Eisenhut come in  
9 and perform an assessment of that board. We will  
10 probably make some changes there. What's really  
11 interesting there is the board meets routinely.  
12 This is not uncommon. But typically we don't have  
13 the board meet at the plant or involved at the  
14 plant when you're using certain programs; for  
15 example, boron inspection programs. All these  
16 programs you don't bring the board in because  
17 you're too busy with outage, right? What we're  
18 thinking about is that would probably be a good  
19 time to bring some of the board members in and let  
20 them perform an assessment of the implementation  
21 of some of our programs. And I don't think too  
22 many people probably are doing that. That's

1 something we're evaluating now.

2 MR. DYER: How about ISEG and their role in  
3 looking at trends?

4 MR. MYERS: We don't have an ISEG.

5 MR. DYER: I thought earlier you did.

6 MR. LOEHLEIN: That was in 1987, I think. In  
7 years gone by there was an ISEG. There is not one  
8 currently.

9 MR. DeSTEFANO: Also basically ISEG really had  
10 a few shots from what we saw during this time  
11 period on these specific subjects. They had a few  
12 chances to have an impact on what was going on.  
13 And again in the earlier years they did that. And  
14 in the mid-'90s to late '90s actually their reviews  
15 concurred with what the station was doing. So it  
16 was not effective.

17 Just prior to 12RFO fueling outages, one  
18 example specifically, ISEG was asked about delaying,  
19 whether or not the decision to delay modification  
20 to the service structure was acceptable. At the  
21 time the proposal was to delay it to 14RFO. And  
22 they came back and asked -- You could tell they

1 felt uneasy about it. They asked are you sure you  
2 can't get it in 12 or 13 but ended up concurring  
3 with the fact that the modification didn't have to  
4 be done right now.

5 CHAIRMAN GROBE: So even ISEG had a production  
6 focus.

7 MR. DeSTEFANO: With the instance that we saw,  
8 yes. But they didn't pop up in our documents too  
9 often.

10 CHAIRMAN GROBE: I apologize. We're using an  
11 acronym here. ISEG is the independent safety  
12 engineering group. And the key word there is  
13 independent.

14 MR. MYERS: Right.

15 CHAIRMAN GROBE: I guess the next key word is  
16 safety.

17 MR. MYERS: Yes. One of the things that as  
18 ISEG went away at our other plant, what we did to  
19 improve that we thought was even better was the  
20 engineering oversight review board. Documents  
21 coming out of engineering, make sure they were very  
22 good. So when we were making the improvements in

1 the '96 timeframe at our other plants, that board  
2 was a real strong part of those improvements and  
3 the quality of our documents coming out of  
4 engineering. But that board was never implemented  
5 over there at the Davis-Besse plant until recently.  
6 We have it at both our Perry and our Beaver Valley  
7 plant now. This was the first time we installed it  
8 over there.

9 CHAIRMAN GROBE: Any other questions before we  
10 go on? Okay.

11 MR. LOEHLEIN: At this point I would like to  
12 conclude and turn it over now to Lew Myers who will  
13 talk about the corrective actions.

14 MR. MYERS: Thank you. When we had this event  
15 initially, somewhere in the May timeframe we decided  
16 to look at the events that are broad based, and we  
17 created the building blocks for a return of service  
18 plan to address systems, programs and organizations  
19 to support safe and reliable operations. Specifi-  
20 cally we created a system health assurance plan  
21 that looks at a rigorous approach to system review  
22 similar to what has improved our performance at our

1 Beaver Valley station and late issue reviews and  
2 system reviews. We have implemented that now at  
3 our Davis-Besse plant, and we're walking down  
4 systems with operators, SROs, we're walking down  
5 with system mechanics, engineers and managers, you  
6 know? And what we're seeing is good teamwork  
7 beginning to develop there. And we're finding  
8 things, basic things. What I will tell you again  
9 later on is that program will probably -- that  
10 program will become part of our normal process.  
11 It's something we should be doing routinely all the  
12 time. And we didn't have the procedure in place or  
13 a process in place to ensure that we were getting  
14 consistent engineering reviews of our system, so we  
15 will put that into our normal processes as we go  
16 forward.

17       The management and human performance  
18 excellence plan was put in place to ensure a  
19 sustained safety focus. The first thing that we  
20 have done there is we created a new FENOC organiza-  
21 tion with more oversight and created my job as  
22 chief operating officer. Bill Pearce has

1 tremendous operational experience. And some of  
2 these issues that we're seeing with corrective  
3 actions quality were probably not fully implemented.  
4 That would be at a higher level now. So we will  
5 see that they get implemented. We're rebaselining  
6 our standards and scheduling management observations  
7 now to make sure there are managers in the field  
8 looking at stuff, activities that are going on.

9       The program compliance plan ensures  
10 programs that we have meet industry standards,  
11 that they have good procedures, we have got good  
12 ownership and we have got good implementation.  
13 Guess what? That's another program that we're  
14 using as part of the building blocks that we'll  
15 continue to use in the future. In fact, we will  
16 probably take that program -- the system program  
17 at our Beaver Valley and Perry plant, we're going  
18 to take that over to all three of our plants now.  
19 So that turned out to be a very good program. So  
20 these building blocks have been key, I think,  
21 already in returning the health and safety focus of  
22 our programs and systems at our Davis-Besse plant.

1 One of the things if you recall we did  
2 early on -- We have six building blocks: Reactor  
3 head resolution plan, program compliance plan, the  
4 containment health assurance plan, system health  
5 assurance plan, restart test plan and the  
6 management and human performance excellence plan.  
7 All that reports up to an independent restart  
8 overview panel that reports to Bob Saunders, Gary  
9 Leidich and myself. That panel consists of  
10 industry experts, the chairman, Buzz Cairns, Lou  
11 Storz who was there in the early '90s, Joe Callan,  
12 Chris Bakken from the D.C. Cook plant, and then  
13 Gere Witt from the community and Jack Martin are  
14 all on that panel. So we think that's a really  
15 top-notch panel.

16 What I want to tell this group here is  
17 it's our intention -- we will not -- until we feel  
18 these knowledge blocks are all in place to give us  
19 sustained performance, we won't even recommend to  
20 you that we be allowed to start up. So we are  
21 looking for this team to tell us that they're  
22 comfortable. That's what we're using them for.



1           The first area we talked about is a  
2 nuclear safety focus. We have already taken some  
3 pretty -- We didn't sit back and wait for this we  
4 saw some of these indications up front. We created  
5 this new senior management team at the upper  
6 levels, I myself and Bill Pearce, to give us more  
7 corporate oversight. But we also brought in a new  
8 senior team at the plant, proven aggressive  
9 managers, good performance. Randy Fast, our  
10 previous plant manager, has been the plant manager  
11 now at Davis-Besse. He came from Beaver Valley and  
12 before that South Texas. Good, strong leadership  
13 qualities. Bob Schrauder from our Perry plant, we  
14 brought him in. So we believe that this management  
15 team that we have in place now will drive the high  
16 standards we're looking for.

17           Implement the management and human  
18 performance excellence plan. We talked about  
19 supervisors and managers at Davis-Besse a while  
20 ago. We have a program called leadership in action  
21 that we use to develop for succession planning of  
22 our future supervisors and leaders. We are going

1 back and looking at that program. Are there some  
2 key elements missing? Maybe we will make some  
3 changes to that. Like in decisionmaking but in  
4 general, you know, it appears to me more than  
5 anything that that plan has not really been  
6 involved in our Davis-Besse plant -- that program  
7 hasn't. We have a bunch of people qualified but --  
8 For instance, at our Perry plant we just completed  
9 a recall of all the supervisors. We were talking  
10 about five classes at our Beaver Valley plant.  
11 Last year at our Davis-Besse plant we didn't teach  
12 any. So we have got a bunch of people through  
13 initially but just sort of put on the shelf, it  
14 appears.

15       One of the things we're getting ready to  
16 do is a case study. When you talk about case  
17 studies you think we're going to come out and tell  
18 everybody what happened. That is not the intent of  
19 this program. The intent of this program is we're  
20 going to go through the timeline that we have on  
21 this event with each group, okay, and then we're  
22 going to go through the root causes and how that

1 group could have affected the root causes. So  
2 we're customizing it to a particular group. Then  
3 we're going back and looking at the standards.  
4 Each group has standards, you know, at our plants.  
5 We're finding those standards are really fairly  
6 good and consistent, but we have lost them. So  
7 we're going to rebaseline those standards. At the  
8 end of that training session -- that case study  
9 we're going to give a test. We're going to make  
10 sure that you understand the requirements, and then  
11 we will move forward from there. That's where we  
12 are heading on this case study. Not only that you  
13 understand this event but you understand the  
14 requirements. And we will move forward. We  
15 already have new standards of implementation in our  
16 engineering group that we're pleased with.

17 CHAIRMAN GROBE: Before you go on -- I  
18 apologize for interrupting -- but you can do this  
19 case study and rebaseline standards and do a test  
20 and people can answer the test correctly and  
21 successfully. But until you assess people to those  
22 standards, I am very concerned about this incentive

1 program and the disconnect between the various  
2 levels in the organization.

3 MR. MYERS: We understand that. If you look  
4 at all the standards, we have some management  
5 models that we use very similar to Exelon. We are  
6 looking at some of the Exelon and other utilities.  
7 Right now we are looking at the attributes that we  
8 have versus the attributes they have. In some  
9 cases we find ours are better; other cases not as  
10 good. We will baseline every one of our  
11 supervisors and managers to the right standards.  
12 That's what ownership, for instance, is supposed to  
13 do. So once we establish that you understand, we  
14 will be monitoring how effectively you implement  
15 those standards through the ownership for  
16 excellence program and a management observation  
17 program. You caused me to lose my place. Let me  
18 keep going.

19 After we do that, Jack, we have a program  
20 that I think Christine knows about that we use both  
21 at Perry and at Beaver Valley. It's the management  
22 observation program, a computerized program where

1 you can trend observations. And we don't use that  
2 program at Davis-Besse. We're bringing it over to  
3 Davis-Besse now. It's got these key attributes  
4 built into it. If we schedule management  
5 observations with supervisors like we're going to  
6 and we collect this data, we can tell how effective  
7 the supervisors are being at implementing the  
8 standards that we expect in the field, you know.  
9 And we're going to implement that program more  
10 strongly here than we have at any of our other  
11 plants. We're going to schedule managers here. So  
12 that's the intention at the Davis-Besse plant.  
13 We have already completed the safety  
14 conscious work environment survey and assessment.  
15 You know, as you might expect how the plant is,  
16 this was a very proud bunch of people. I meet with  
17 them. And I'm going to talk about my four Cs. I  
18 do four Cs meetings. I have a contractor talk.  
19 The organizational effectiveness person brings in a  
20 group of people. And what we do is about twenty at  
21 a time. The idea is there the contractor -- they  
22 can talk to this person in confidence. So when I

1 see the question I don't know who it came from.  
2 Then we go in and -- I get all the questions, and  
3 we go in and try to answer the questions and then  
4 feed that back in our newsletters and stuff. We  
5 have started that meeting now. And it just amazes  
6 me the people at Davis-Besse, they will tell you  
7 they know the standards, they know that the  
8 management hasn't been as strong as it used to be.  
9 I am not even going to tell you some of the things  
10 they tell me here. But it's really interesting the  
11 feedback that I get there. And I do believe that  
12 we're beginning to see some good ownership of this  
13 problem. And they're also beginning to see those  
14 management walk-downs and management in the field  
15 and system walk-downs being effective. So we will  
16 continue those things.

17       And then finally I told you earlier the  
18 ownership for excellence program evaluates our  
19 managers and directors. And we will get all this  
20 done, and then we will have them evaluate the first  
21 line supervisors using the management observation  
22 program.

1           The next thing we talk about here is  
2 corrective action. I told you that we just finished  
3 -- we're finishing as we speak review of the  
4 corrective action program. We have been very proud  
5 at all of our plants of our corrective action  
6 program. In fact, we think that -- my belief is at  
7 our other two plants we have really taken that on  
8 and made a lot of progress fixing problems through  
9 corrective action. We have seen some real enhance-  
10 ments now that we can make to that program, and we  
11 will go back and look at this review and try to  
12 make some changes to the program. Overall, though,  
13 I go back and say again a lot of problems we saw at  
14 Davis-Besse are just implementation problems, the  
15 right criteria for a CR that's written by an  
16 employee and then taking that CR seriously and  
17 doing root causes or apparent causes or quality  
18 reviews.

19           How do you measure the effectiveness of a  
20 corrective action program? What I am accustomed to  
21 is we have a corrective action review board. And  
22 right now we have that being chaired by the plant

1 manager. It should always be chaired by a director.  
2 That was not the case before. It didn't have  
3 performance indicators, and we were not looking at  
4 anything except higher level root causes. We  
5 weren't looking at apparent causes. One of the  
6 things we will do is we will go down and we will  
7 get this board to start looking at lower level  
8 stuff to make sure that that's properly classified.  
9 So I think we do that at Beaver Valley already,  
10 don't we?

11 MR. LOEHLEIN: Of course. I haven't been on  
12 it for a while. I used to be on it. I have been  
13 at Davis-Besse for six months. Lew, you know where  
14 I have been for six months. But when I  
15 participated in a corrective action review board at  
16 Beaver Valley, our standard was to look at a lot of  
17 lower level condition reports for determination,  
18 not just high level stuff.

19 MR. MYERS: In our engineering reports we're  
20 going to improve our trending of equipment failures.  
21 And then finally we're going to be performing --  
22 Bill Pearce is going to be performing routine



1 assessments now to make sure that we're properly  
2 classified, CRs as they're written, and doing the  
3 right type of assessment.

4 CHAIRMAN GROBE: What you just described,  
5 Steve, is that proceduralized either in a self-  
6 assessment procedure or in the corrective action  
7 review board charter?

8 MR. LOEHLEIN: I think it goes back to the  
9 fact that we have upper level standards in the  
10 sites. What we need to work on and what we have  
11 in this program compliance plan is each site has  
12 taken what you might call a different level of  
13 rigor in how they're going to approach the  
14 corrective action review board. I know when I was  
15 on it at Beaver Valley and in my maintenance  
16 superintendent role that we met every week, and we  
17 went over quite a number of condition reports and  
18 at what level we looked at them. When I got to  
19 look at this at Davis-Besse, I found out their  
20 pattern really was to meet once a -- I think once  
21 a month and look at primarily higher level things.  
22 So the company or the FENOC-level common process

1 procedure allowed probably too much flexibility in  
2 how that board operated at each plant because we  
3 had different standards for what we looked at. And  
4 that's the point of getting all three sites  
5 together in reviewing this and getting us all on  
6 the same page.

7 MR. MYERS: Now that I am chief operating  
8 officer I can fix some of these inconsistencies.  
9 What I am accustomed to more is that our senior  
10 management team reviews all the Category 1 CRs and  
11 all the corrective actions. That's done at a much  
12 lower level at Davis-Besse. And since that's done  
13 on a lower level, the apparent causes stuff aren't  
14 getting reviewed at all. We're going to strengthen  
15 those types of things.

16 MR. WRIGHT: May I ask one question? When you  
17 say you're rebaselining and going to go back and  
18 look at what the practices are at the different  
19 facilities and implementing the program where there  
20 was a lot of a flexibility within the program, is  
21 the result coming out of that going to be a  
22 consensus of where we should be, or is that going

1 to be looking at what is the most conservative  
2 approach that one of our three sites have taken and  
3 go with that until shown otherwise that that is too  
4 conservative or you don't need to be that way?

5 MR. MYERS: We're a little better than that.  
6 This team we brought in, this latent issues review,  
7 is a very broad-based team, and they're making  
8 specific recommendations and improvements to our  
9 corrective action program. We'll probably take a  
10 lot of those improvements -- maybe not every one --  
11 and make them a part. So I think the approach  
12 we're taking is a little stronger than that. We  
13 have really got a good team looking at the  
14 corrective action programs at Davis-Besse. I have  
15 already seen some very eye-opening flexibilities,  
16 you know. So we will take those issues and tackle  
17 them. Does that answer your question?

18 MR. WRIGHT: It says that you are looking at  
19 it in a different way. We'll have to wait to see  
20 what the results are.

21 MR. MYERS: Okay. Where was I? Page 43.  
22 Another thing that we have to make sure that we

1 address is that repeat conditions are treated as  
2 significant conditions. If we see repeat  
3 conditions, we're going to strengthen our program  
4 and make sure we elevate those. That's not as  
5 clear as it should be now. We're going back now as  
6 we go through the system and the program reviews  
7 and looking at some longstanding problems that we  
8 had at the plants and seeing if they should be  
9 elevated to significant issues. We're quality  
10 reviewing that and doing our system reviews and  
11 program reviews. That's ongoing.

12       One of the things that we don't do is we  
13 don't require -- we haven't required root cause  
14 type training for apparent causes. And we could  
15 probably really improve our program a lot if we did  
16 that. We're going to do some type of root cause  
17 training for those people that are doing apparent  
18 causes. It has not been a requirement at all in  
19 our program. That came out of these reviews I was  
20 telling you about, the latent issues reviews.  
21 That's better than reviewing any of our sites. I  
22 would call that improvement overall.

1           We're going to define and implement the  
2 required training. We're going to develop a  
3 training program that defines and implements the  
4 training consistently across our sites for root  
5 cause. That's not very clear either. So we have  
6 got some people that use Kepnor-Trego and we use  
7 MORT. We're going to have maybe a variety of  
8 techniques to make sure we have that variety of  
9 techniques at each one of our sites.

10           And then finally -- I pretty well talked  
11 about everything -- implement an effective site-  
12 wide equipment trending program. I think there's  
13 some real improvements we can do. We have a  
14 quarterly report from engineering on the trending  
15 of our systems. But because we haven't done a good  
16 job at saying here's how we walk-down our system,  
17 here are system health reports, I think we're  
18 getting not consistent messages from our system  
19 engineers. We're going to go back and strengthen  
20 the way that we look at our systems making sure  
21 that we're looking at trending, for instance --  
22 that might be an issue we're looking at -- and make

1 sure we have specific criteria for the systems  
2 engineers to use. They don't have that criteria.  
3 Remember I told you a while ago we did not have a  
4 walk-down procedure for systems? We need to  
5 strengthen those things. We will do that.

6 Under technical rigor, you know, I talked  
7 about rebaseline the standards and expectations for  
8 each FENOC group. We're doing that as we speak.  
9 Establish an engineering assessment board to  
10 reinforce standards. We have established a very  
11 good engineering assessment board. We're figuring  
12 out how to make that a permanent part of the way we  
13 do business as we speak. So that we have got some  
14 ideas in mind of putting a permanent manager there  
15 that's just in charge of the engineer assessment  
16 board. So we're going to really strengthen that  
17 board and bring it over to the Davis-Besse plant  
18 and probably make it better than the ones that we  
19 have at the other two plants as a matter of fact.  
20 So I am looking forward to that.

21 We have already approved a procedure --  
22 What we found at Davis-Besse is we have a business

1 plan that talks about the hierarchy of documents  
2 and our priorities. And our priorities at FENOC --  
3 and you need to listen to this clearly -- is safety  
4 first, people second, reliability third and cost  
5 fourth. That's our priorities. And that's been  
6 pretty consistent over the years since I have been  
7 at FENOC. And what we find at Davis-Besse that I  
8 am not used to is a bunch of policies and documents  
9 that are not in line with the way we do business.  
10 It's almost like they figured out a way to maintain  
11 status quo over the years. So I am going back and  
12 revisiting those policies and documents. And what  
13 we did the other day is we approved a new nuclear  
14 operating procedure that -- We never had anything  
15 that clearly defined the hierarchy of documents.  
16 And what you will see now is we have a policy at  
17 one of our plants different than our FENOC policy,  
18 and it's going to have to come to the senior teams  
19 at FENOC to get approved. So we have got to make  
20 sure that we don't have these documents out there  
21 that don't get the same priorities that we have as  
22 an organization. We found some of that. It's

1 there and alive, some older documents, sending the  
2 wrong message to our employees.

3 I told you that we're going to make  
4 permanent in our processes the system walk-downs.  
5 That program has been -- Through experience we  
6 found out we didn't really even understand the  
7 bounds of the program for the system engineers. We  
8 have got that all scoped out. And we're not  
9 walking down systems. And what we're finding is  
10 that we're not using it at any of our plants.  
11 We're walking down systems with multi-discipline  
12 teams of SROs, maintenance, managers and the system  
13 engineer, and we're finding some really interesting  
14 things. And we don't have that at any of our  
15 plants, and we probably -- we're going to go fix  
16 this process so it's consistent across all of our  
17 plants.

18 And then the program reviews I talked  
19 about a while ago you will find very enlightening  
20 also.

21 Procedure compliance. Procedure  
22 compliance is something that I have been talking



1 about since I have been in nuclear power it seems  
2 like. You know, we're going to come out of this --  
3 we're committed to coming out of this restart with  
4 what we think is the best boric acid program in the  
5 country. We should have that after this. And we  
6 have gone back now and taken our procedures and  
7 turned them into nuclear operating systems at our  
8 two sites that use boron. We have a nuclear  
9 operating standard now, and it fully meets 99-0701  
10 I guarantee because I reviewed it myself.

11       We're going to go back and reinforce the  
12 standards and expectations for procedure compliance  
13 throughout the sites and the need for proper  
14 work-practice rigor. Some of the things we have  
15 seen here and some of the work orders we have  
16 signed off and the amount of information that's in  
17 those work orders we need to improve more at our  
18 Davis-Besse plant. This was the same problem we  
19 had at our other PWR a few years ago where we  
20 didn't have much rigor in our work orders and rigor  
21 in our process. And we have improved that. We  
22 need to strengthen it here also.

1 I told you about the management obser-  
2 vation program. We're going to implement the same  
3 observation program we have at our other plants.  
4 It's a computerized program. Was the prejob brief  
5 good, were the parts there, was the contingency  
6 planning good, was the right safety culture there.  
7 There's attributes for all those things. And was  
8 the procedure usage proper too. We're going to  
9 implement that program at our Davis-Besse plant  
10 where we already have it at our other two. I have  
11 gone back and reviewed based on this event all the  
12 stuff in the program, and the program looks pretty  
13 healthy to me from what I have seen. I did that a  
14 couple weeks ago. And then we're going to start  
15 scheduling with a weekly schedule managers to be  
16 in the field with the supervisor and document our  
17 performance. We think that will help our safety  
18 culture. Once again I believe if we had had more  
19 management involvement in the field and higher  
20 standards, we wouldn't be here today. Somewhere we  
21 lost that, and we're regaining it now.

22 And once again at our morning meetings

1 we're stressing procedure compliance pretty much  
2 daily and weekly, and we're looking for CRs as an  
3 indication of procedure compliance issues every  
4 day. We're trying to focus on that.

5 CHAIRMAN GROBE: Before you go on -- I  
6 apologize for interrupting. Before you go on to 46,  
7 you say reinforce standards and expectations for  
8 procedure compliance and the need for work-practice  
9 rigor. The root cause focus on page 34 focuses  
10 only on boric acid control. What is your sense of  
11 the extent or condition of this procedural  
12 compliance question?

13 MR. MYERS: Widespread.

14 CHAIRMAN GROBE: Operations, health physics,  
15 maintenance?

16 MR. MYERS: Yes.

17 CHAIRMAN GROBE: Okay.

18 MR. MYERS: We have seen our operability  
19 reviews have been a little lax. That's the reason  
20 I brought Mike Ross in at the system right now to  
21 really focus on operations, make sure we have the  
22 high standards. When we saw this in root cause, we

1 started looking across the board. We see it  
2 elsewhere also.

3 CHAIRMAN GROBE: Okay.

4 MR. MYERS: Once again we talked about the  
5 hazard analysis. I had trouble with this too,  
6 Jack. But what I call it is decisionmaking. And  
7 we use this document called Tech 19 that incorpor-  
8 ates some of the INPO philosophy, industry  
9 philosophy on decisionmaking. It also is a tool  
10 we use when we have equipment problems to sit down  
11 and -- The first thing before we go to work is we  
12 sit down and we go through this to make sure we're  
13 asking all the tough questions. Do we meet our  
14 licensing basis? Do we need to go into 50.59?  
15 That process is not in effect here. That program  
16 is not in effect at our Davis-Besse plant. That's  
17 another item right now that we haven't yet turned  
18 into nuclear operating procedure. We need to  
19 implement that program at Davis-Besse.

20 And once again I put here that we're  
21 doing corrective action benchmarking. I think the  
22 benchmarking we have got is we have got a ton of

1 people in the plant right now from other utilities  
2 that are pretty much industry experts that are  
3 doing that latent issues review of our correction  
4 action process. That's really been an eye-opening  
5 experience. And we will continue to go out there  
6 to Morgan Price and some other plants after that.  
7 We will be making some changes to our corrective  
8 action program. I could give you some specific  
9 changes if you want them, but we need to make some  
10 changes there.

11 I told you a while ago that the new  
12 reactor pressure vessel head is on site. We're  
13 looking at the design -- that's one of the  
14 corrective actions -- and making sure that that  
15 head is ready to be installed. A boric acid corro-  
16 sion control program is being designed to include  
17 control of our drive nozzles like they should.  
18 We developed a training program already on the  
19 boric acid monitoring. You know, if we would have  
20 used our -- We found out as we were going through  
21 the inspections that we were qualifying people as  
22 VT-2 exam. What we should have been doing is what

1 do we want them to be able to do and developing a  
2 training program for that specific talent. And we  
3 have developed that program now, and it looks pretty  
4 good. We have got people out doing walk-downs, and  
5 training appears to be very thorough. So we're  
6 happy with that. But making sure people are  
7 properly trained on the boric acid procedures is  
8 very important. And once again our intention is to  
9 come out of this issue being one of the industry  
10 leads in boric acid.

11       Some of the problems that we found as we  
12 were going through this issue too is you find  
13 corrective actions in the boric acid group that  
14 were left for a couple years without resolving. So  
15 timely corrective action is something we're going  
16 to address also.

17       And then we talked about the realignment  
18 of the incentive program. We'll talk to FirstEnergy  
19 about that. We're going to look at possibly some  
20 changes there.

21       And then finally I told you a while ago  
22 that we found the policies that were different

1 somewhat at Davis-Besse that we have at FirstEnergy.  
2 Well, we're going to strengthen those policies, you  
3 know. Operations' involvement is very important  
4 and a management presence in the field is very  
5 important. And we're going to -- Bob Saunders, I  
6 know, right now is looking at a policy for FENOC  
7 that he's going to put out addressing his expect-  
8 tations for a nuclear safety culture. So that's  
9 something we didn't have in place. We're going to  
10 make that very clear to make sure nothing disagrees  
11 with that. I don't think it was as clear as it  
12 could have been.

13 I told you a while ago we made several  
14 changes across the site already. We created Bill  
15 Pearce's job, the ex-plant manager from Beaver  
16 Valley station. Strong operational focus. He's  
17 now the vice-president of oversight. He reports to  
18 the president, and he also reports directly to the  
19 board. The chief operating officer. They made me  
20 the chief operating officer. Then we brought in  
21 Gary Leidich. Those were all, I think, positive  
22 moves that allow us to have more oversight. We

1 brought in Mike Ross to strengthen our operations  
2 group on operability concerns. There were a lot of  
3 issues here that we saw in this event where ops was  
4 really not very existent in asking hard questions  
5 when we wrote the CRs. So we're going to fix that.  
6 We have a new plant manager, Randy Fast. We think  
7 he has a strong maintenance and operations  
8 background, and we think he'll add the right safety  
9 focus to the plant. Mike Stevens now is the  
10 director of maintenance. Mike came to us from -- he  
11 worked in energy at Exelon, and he's been with us a  
12 couple years as a maintenance director there. Bob  
13 Schrauder we brought over from Perry. He used to  
14 be the plant manager at Perry and is a proven  
15 leader with our organization. And finally Jim  
16 Powers was the engineering director at Perry, and  
17 he's over with us at Davis-Besse now as the  
18 engineering director. We think that he has the  
19 right standards and will help us drive this new  
20 safety culture in the plant. So we have made a lot  
21 of changes already, I guess, is the message.  
22 CHAIRMAN GROBE: Lew, you have Randy Fast as a



1 light blue. When did he come to the organization?

2 MR. MUGGE: He started in January of this

3 year. I think the graphic is wrong.

4 CHAIRMAN GROBE: Just prior to the outage?

5 MR. MYERS: Just prior to the outage, yes.

6 CHAIRMAN GROBE: So he's a dark blue.

7 MR. MYERS: Randy Fast experienced some of the

8 South Texas plant. That was a pretty interesting

9 turnaround. And also he went to the Beaver Valley

10 plant and performed well down there. He was our

11 maintenance director there, so we brought him over

12 as plant manager here. We believe that's a good

13 move for us.

14 MR. THOMAS: Before you do your summary, can I

15 ask a question?

16 MR. MYERS: Yes, sir.

17 MR. THOMAS: First is will all people who are

18 tasked with classifying reports and apparent cause

19 evaluations be trained?

20 MR. MYERS: That's our intent.

21 MR. THOMAS: Second question is two of the

22 root causes you presented require significant

1 process changes by your staff; namely, addressing  
2 symptoms rather than causes and lack of adequate  
3 technical rigor. Could you comment briefly on  
4 specifically what's being done to accomplish this  
5 process?

6 CHAIRMAN GROBE: Let me broaden that just a  
7 little bit. I really appreciate that. You  
8 embarked on a multifaceted program -- return to  
9 service program.

10 MR. MYERS: Right.

11 CHAIRMAN GROBE: And you embarked on that  
12 program with a variety of people, some from your  
13 organization, some from outside your organization.  
14 One of the first areas that we inspected was  
15 activities that you were accomplishing in the  
16 containment area and found some inadequacies in the  
17 qualification of the people doing inspections,  
18 inadequacies in the training of the people and your  
19 training programs, and then went into the field and  
20 found some observations that we were able to make  
21 that your staff had looked at the same equipment  
22 and did not make. And I think that goes right to

1 the question that was just asked a moment ago.  
2 Since then you have completely redone the training  
3 program, brought in a bushel basket of new  
4 inspectors, and trained them to your standards and  
5 you are reperforming those inspections in contain-  
6 ment. What are you doing to make sure that all of  
7 the people that are implementing this restart  
8 program -- and they have been working on this for a  
9 couple months now -- have the standards and expect-  
10 tations that you expect and are not continuing to  
11 operate with the same focus of technical rigor and  
12 standards that existed prior to the outage? Is  
13 this the same question you asked?

14 MR. THOMAS: Pretty much.

15 MR. MYERS: I will tell you we don't have that  
16 fixed. We're working on that, but we don't have it  
17 fixed. I think the first thing that's helping drive  
18 that as we speak now is the engineering assessment  
19 board looking at the products coming out of engineer-  
20 ing. That's a very strong board. And once again  
21 we intend to keep that as a permanent part of our  
22 process. That ensures that the documents coming

1 out of engineering have got the right rigor. And  
2 we'll monitor -- We have got performance indicators  
3 and things that are rejected, things that we're  
4 having to add a few comments to and stuff like that  
5 so we can monitor the quality of the information  
6 coming out of there.

7 Another key element that I think is good  
8 management has been our corrective action review  
9 board. The corrective action review board at our  
10 other plants looks at a lot of lower level items,  
11 conditions with apparent causes. And we give  
12 feedback directly to the managers and directors,  
13 and we monitor how many are rejected by that  
14 board. So we're driving the right standards down  
15 to the group by name. And we have strengthened  
16 that here already.

17 There are some things that we need to do  
18 yet in understanding the ownership for excellence  
19 program as part of our leadership in action. It  
20 doesn't appear to be effectively used at our  
21 Davis-Besse plant. And also I would tell you that  
22 there is some -- probably some new sections we need

1 to add to that training to make sure that our  
2 supervisors and managers are meeting the right  
3 standards of quality, you know. So I don't think  
4 there is an easy answer to what you just asked, but  
5 once again our leadership in action program is  
6 designed to develop the right type of supervisors  
7 and managers to produce the quality that we're  
8 looking for. And I don't think that's been  
9 implemented over there at Davis-Besse. I don't  
10 know if I answered your question or not.

11 CHAIRMAN GROBE: I think you have answered my  
12 question it's a work in progress. The problem is  
13 that we are going to need to be able to make a  
14 decision, and you're going to need to be able to  
15 make a decision that the plant is in a condition  
16 that's adequate for restart at whatever point in  
17 time you get to that decision point.

18 At our last public meeting at Oak Harbor,  
19 one of the items I asked -- I asked two items I  
20 hope we're going to be covering next Tuesday at our  
21 next public meeting at Oak Harbor. One of those  
22 was to get greater clarity on these various boards

1 that you have, independent assessment boards, and  
2 what influence they have from people that are not  
3 part of the old Davis-Besse culture and what kind  
4 of things they're finding. And then secondly the  
5 exact same question with Bill Pearce's organiza-  
6 tion.

7 MR. MYERS: Bill will be speaking at that  
8 meeting.

9 CHAIRMAN GROBE: Okay.

10 MR. MYERS: And I can tell you our rejection  
11 rate right now in our board's pretty high. Pretty  
12 high.

13 CHAIRMAN GROBE: Okay. On this graphic I  
14 think we have established if you make Randy dark  
15 blue that everybody from the director level up is  
16 new to their position. And I think four of those  
17 people -- three of them are new to FirstEnergy.  
18 Mike Ross is new to FirstEnergy, Randy and Mike  
19 Stevens are new to FirstEnergy. Is that correct?

20 MR. MYERS: No, I don't think that's correct.  
21 Randy has been with FirstEnergy for about two to  
22 three years.

1 CHAIRMAN GROBE: Who has?

2 MR. MYERS: Randy. He was at Beaver Valley  
3 before.

4 CHAIRMAN GROBE: Oh, okay.

5 MR. MYERS: Mike Stevens we hired at Perry  
6 initially. They have been here for a while.

7 CHAIRMAN GROBE: So everybody above that line  
8 is new to Davis-Besse, and one of them, Mike Ross,  
9 is new to FirstEnergy.

10 MR. MYERS: And the maintenance manager also  
11 is new to FirstEnergy.

12 CHAIRMAN GROBE: Okay.

13 MR. MUGGE: Peter Roberts.

14 CHAIRMAN GROBE: I wanted to get a better  
15 understanding of new to position below that line.  
16 How many of those folks below that line that are  
17 new to their position came from outside of the  
18 Davis-Besse organization?

19 MR. MYERS: Bob Peters came from Salem. Pete  
20 Roberts -- I am sorry -- he came from Salem. Robert  
21 Pell, he came up from South Texas as the ops  
22 manager, and we combined chemistry and HP. He was

1 the chemistry and HP manager at South Texas. He is  
2 now the chemistry and HP manager. He has been here  
3 for a year or so. But he's from outside our  
4 organization. And then I can't read the others.

5 MR. MUGGE: Dave Nelson came from Tennessee  
6 Valley.

7 MR. MYERS: Okay, yes. Pat McCloskey was from  
8 the organization. John Grabnar was from Perry.

9 MR. DeSTEFANO: Roder is from Davis-Besse.

10 MR. MYERS: Roder is from Davis-Besse.

11 CHAIRMAN GROBE: Okay. So only a couple of  
12 the dark blue below the director line are actually  
13 reassignments within Davis-Besse.

14 MR. MYERS: That's right.

15 CHAIRMAN GROBE: Okay. And the ones that  
16 aren't new to their position, did you do some sort  
17 of evaluation to determine that that's an adequate  
18 alignment?

19 MR. MYERS: We haven't done that yet. We will.  
20 One of the things I said is we're going to reassess --  
21 we're going to assess the directors and managers to  
22 their position, each and every one of them.



1 CHAIRMAN GROBE: And that'll be done prior to  
2 restart?

3 MR. MYERS: Yes.

4 CHAIRMAN GROBE: Other questions?

5 MS. LIPA: Yes, I had a question. We talked  
6 earlier that you were planning to submit your report  
7 this week or next week.

8 MR. MYERS: Right.

9 MS. LIPA: One of the things that I was  
10 wondering is whether there will be in that  
11 submittal a correlation between the root causes you  
12 have described here and the corrective actions so  
13 we could see how it matches up.

14 MR. MYERS: Yes.

15 MS. LIPA: Also if it's clear from the submittal  
16 which ones will be corrected before restart.

17 MR. MYERS: No. First answer is yes, second  
18 answer is no.

19 MS. LIPA: How do we determine your plans  
20 before restart?

21 MR. MYERS: The corrective actions we will  
22 take before restart will feed into our 0350 process

1 and be identified in the restart.

2 MS. LIPA: Restart action plan?

3 MR. MYERS: If you look back and look at our  
4 drawing with the 0350 process, there are some items  
5 that are management items, some will be part of  
6 0350, and some will not be part of 0350. And we  
7 identify those as just restart items. So they will  
8 be documented as a corrective action for restart.

9 MS. LIPA: Okay.

10 CHAIRMAN GROBE: You're talking about the  
11 center building block, the restart action plan?

12 MR. MYERS: Right.

13 CHAIRMAN GROBE: So they'll get screened  
14 through the criteria in that?

15 MR. MYERS: Yes.

16 MS. LIPA: So we'll have to look at that  
17 separately after this report is sent to us.

18 MR. MYERS: Yes.

19 MS. LIPA: Okay.

20 MR. MYERS: It should be pretty easy.

21 MR. WRIGHT: Following on with that thought,  
22 the effectiveness, you know. What criteria you're

1 going to use to judge that it's effective enough at  
2 some point to say that you can restart, is that  
3 part of in some way a trending or looking at that?  
4 That's part of the restart action plan assessment?  
5 MR. MYERS: You know, we just finished this  
6 report this week, but we have already developed  
7 some performance indicators that we're using. And  
8 we have sent those to you to look at the health of  
9 our products and our programs. So, for example, as  
10 we go through the program reviews, if we find  
11 something in our level one screening that we're  
12 doing that doesn't have good ownership and doesn't  
13 meet the requirements or that implementation looks  
14 for, then that program will require latent issues  
15 review. And we would either make a determination  
16 through that restart review it's something that we  
17 can change now and fix it or is it something that  
18 we have to do before start-up. So each one of the  
19 programs will get that type of screening. So we're  
20 trying to use that process we're talking about in  
21 everything we do so it's consistent. Did I answer  
22 your question there?

1 MR. WRIGHT: Partly anyways. I guess I am  
2 looking at it saying that works well for things  
3 that you identify that you have to do, you know,  
4 change this, fix this, do this. I guess the second  
5 half -- and maybe you answered it and I didn't  
6 understand -- was once you fix this and do that and  
7 adjust this, how do you know that that now is  
8 giving you back what you want?

9 MR. MYERS: For example, let's talk about our  
10 engineering assessment board. We have got like  
11 four performance indicators where everything on  
12 there we look at, we grade it and we monitor that.  
13 In our 0350 process we would expect to have some  
14 criteria that says that we feel that the perform-  
15 ance -- the engineering product we're seeing is  
16 adequate before we'd recommend restart. And that  
17 would be part of that process. So for every item  
18 that goes in there, we monitor it. So if ten items  
19 come in, three of them are set, you know, four of  
20 them require minor adjustments and five of them or  
21 something may be rejected. So we'll know all that.  
22 So when we get to the performance, looks like it's

1 good, of the engineering products coming out, then  
2 we'll be able to tell you we're ready to restart.  
3 That would be a criteria in our building blocks.

4 MR. DYER: Lew, what is your criteria to make  
5 sure the engineering oversight board has the right  
6 set of values and thresholds in the conduct of  
7 their business?

8 MR. MYERS: What we did for that criteria is  
9 we gave them a charter they're using, and the  
10 charter is pretty specific. And we brought in the  
11 people we brought in from outside, looked at their  
12 resumes and qualifications extremely well. Most of  
13 them if I gave the list of names I think you would  
14 probably know them. Good strong people on that  
15 board.

16 With that, in summary I would like to  
17 finish by saying our CEO of FirstEnergy is Pete  
18 Berg, and he sort of set the standards in every  
19 meeting we have been in so far in returning  
20 Davis-Besse back to service in a safe and reliable  
21 manner and doing the job right the first time. I  
22 guess what I would say again today is we think this

1 root cause is pretty thorough, we worked hard on  
2 it, we're proud of it. And we know we have got a  
3 lot of work to do, but we're committed to meeting  
4 that challenge. Thank you.

5 CHAIRMAN GROBE: Any others? Anybody? I have  
6 some thoughts I would like to share. Before I do  
7 that, the NRC staff in headquarters, I would be  
8 interested in whether or not there are any  
9 questions from the NRC staff in our headquarters  
10 offices.

11 MR. RICHARD JURGAN: There's one. I am Rich  
12 Jurgan, NRC inspector with fuel cycles. I just  
13 wanted to know -- One of the possible contributing  
14 causes to a situation like this could be lack of  
15 communications either between departments or up and  
16 down the management chain. I am dealing with a  
17 plant that has a safety-conscious work environment  
18 issue, so I am kind of attuned to those communica-  
19 tions issues. In this analysis did you specifically  
20 look at that, or were you able to come up with  
21 conclusions as to the state of interdepartmental  
22 and vertical communications at the plant if there

1 were any weaknesses or maybe strengths?

2 MR. LOEHLEIN: I will answer that based on my  
3 understanding, and I will get some help from the  
4 other members of the team that are here if I need  
5 it. I think that I would say about our investiga-  
6 tion that we were able to assess certain things  
7 real well from what was there in the way of the  
8 record both in interviews and in things like  
9 condition reports. Some of the things we couldn't  
10 assess as well are in areas like communication, and  
11 it's because of the way the organization failed in  
12 other ways. The condition report process told us  
13 that every level of the organization was involved.  
14 There were lots of them. Different levels of the  
15 organization, different departments all had a crack  
16 at a number of these issues. So in terms of  
17 communication among them we have seen those cases.  
18 Whether or not that was a factor or not would be  
19 less critical because they all had a part in it.  
20 We make a point in the report of how many super-  
21 visors, how many individuals, how many people in  
22 different management were involved in these

1 different condition reports. So from that  
2 perspective we knew lots of people were involved.  
3 But the communication links themselves, I don't  
4 think we really have a lot to say about it. Mario,  
5 do you have anything to add in the way of clarity?

6 MR. DeSTEFANO: I would echo that up and down  
7 the organization the right people got involved and  
8 were participants in the decisionmaking. The  
9 weaknesses that we did see in the few instances  
10 that we got a chance to see it was between depart-  
11 ments. That's the only place we saw weaknesses  
12 with communication.

13 MR. LOEHLEIN: Right. Maybe really along with  
14 that where you would expect a department to seek  
15 help from someone else. Because it goes back to  
16 the safety culture. If you are in an area that you  
17 don't think you know everything about this, you  
18 want people to question well, can I answer this, do  
19 I understand it enough to write what the cause  
20 analysis is or should I seek help from others. We  
21 didn't see that tendency in the people that  
22 participated in these issues.



1 MR. JURGAN: Thank you.

2 MR. MYERS: I can tell you more information.

3 The employees will tell you that over the years the  
4 teamwork between departments has diminished and  
5 they have become somewhat isolated.

6 MR. LOEHLEIN: Silo.

7 MR. MYERS: Silo is a good word. You hear  
8 that from some of the feedbacks you are getting on  
9 walk-downs and the four C meetings I have.

10 CHAIRMAN GROBE: Bill, do you or any of the  
11 staff at headquarters have a question?

12 MR. WILLIAM DEAN: Yes, this is Bill Dean and  
13 Anthony Mendiola here at headquarters. I had one  
14 question. And that relates back to an earlier  
15 slide where you talked about a safety-conscious  
16 work environment survey. And then the discussion  
17 took us somewhere else and we never really came  
18 back to that. Are there any results or  
19 observations regarding what that survey told you?

20 MR. MYERS: Yes. Okay. We looked at the  
21 survey. And if you look we did a survey in 2000,  
22 early 2000 and, I think, one in 1999, I think, was

1 the time. And the survey from 1999 to 2000 showed  
2 improved performance in all areas. The survey we  
3 recently did shows declining performance in all  
4 areas back to the 1999 timeframe. And so, you  
5 know, it's at a level that, you know, I would say  
6 I would call a concern. So we're really trying to  
7 address that survey in many of our meetings and to  
8 our employees, that they have the right to come  
9 forward with issues and not be fearful. The survey  
10 we just did, we just got the results back this past  
11 week. But we had an all hands meeting yesterday  
12 where we specifically talked about the results of  
13 it to all of our employees, about that survey and  
14 their rights as employees. So with the site being  
15 shut down, I would say that our employees are, you  
16 know -- The employees there are very educated,  
17 they have had good performance in the past at the  
18 plant, the plant ran well for a long time. And  
19 they're somewhat in shock since this happened. And  
20 whenever the plant is shut down and all the stuff  
21 that's going on, morale tends to decrease. So what  
22 we've got to do is try to keep that morale up and