- 1 though the base procedure for performing analysis
- 2 was still there, the procedures that fed into that
- 3 were no longer as explicit as they used to be. The
- 4 older procedures gave examples on when you would go
- 5 into safety analysis review. They didn't always
- 6 give you a list. They just gave you the types of
- 7 situations you might be in where you want to go
- 8 verify that your design analysis is still adequate,
- 9 that you are not giving someone an answer that's
- 10 contrary to your design basis. And in the later
- 11 years the procedures became less explicit, didn't
- 12 have examples, didn't have discussion on when you
- 13 would go out into the safety analysis base. And
- 14 then, interestingly enough, those other procedures
- 15 also had less review and approval signatures
- 16 associated with their processes. So less people
- 17 had the chance to be another barrier and ask folks
- 18 to go off and do more thorough analysis. So there
- 19 definitely were examples where the station
- 20 understood what was going on in the industry, they
- 21 were very active and interfacing with the owners
- 22 group associated with the concerns with both

- 1 primary water stress corrosion cracking and the
- 2 boric acid corrosion. However, when it came time
- 3 to analyze their own problems, that's when they
- 4 fell short.
- 5 MR. MYERS: Haven't we also found some cases
- 6 where -- At our Davis-Besse plant don't we have
- 7 some guidelines that are different than our other
- 8 plants?
- 9 MR. LOEHLEIN: There's an implementation guide
- 10 for that kind of a process, right. Bobby can
- 11 probably answer that more specifically coming from
- 12 Davis-Besse. But it's the guidelines talking about
- 13 implementing the corrective action program.
- 14 MR. VILLINES: Right. We do have a guideline
- 15 which implements the FENOC common process in
- 16 general, general portions of that. We're taking
- 17 some of the industry guidance and expanding upon
- 18 what's in the guideline to a large degree.
- 19 MR. LOEHLEIN: I think that's where we had the
- 20 concern about the categorization levels and so
- 21 forth. Particularly, I think, in effectiveness
- 22 reviews and in the equipment trending is where we

- 1 had issues with the guidance.
- 2 MR. VILLINES: Yes.
- 3 MR. MYERS: So we see issues that we think
- 4 we'd classify as more significant at our other
- 5 plants that were classified as conditions not
- 6 adverse to quality at our Davis-Besse plant.
- 7 CHAIRMAN GROBE: I am still struggling with
- 8 the connection between the safety evaluation
- 9 process and the 50.59, what you said, Lew, a few
- 10 minutes ago; and that is routine day-to-day
- 11 decisionmaking and how you approached that. Could
- 12 you help me understand the connection between 50.59
- 13 and decisionmaking on a day-to-day basis?
- 14 MR. DeSTEFANO: Well, you're going through the
- 15 same struggle that we did applying the MORT process.
- 16 Since the MORT process is very rigorous, we really
- 17 wanted to use its rigor to help us analyze as many
- 18 of these situations as we could. So the hazards
- 19 analysis branch of MORT was the closest technique
- 20 that we could find to really pushing the safety
- 21 review portion of this. And that's why, as Jim
- 22 pointed out, the terminology is a little rough.

- 1 But we're basically using some of the terminology
- 2 from MORT; however, rather than its original
- 3 intention which appears to me to be if you had an
- 4 industry accident, you are trying to figure out
- 5 what is the hazard. Maybe it's an oxygen deficient
- 6 atmosphere. The MORT wording fits perfectly to
- 7 that. In our case, though, the questions were
- 8 perfect for taking us down the road of safety
- 9 evaluation. So we utilized that branch of the
- 10 system. So that's why we're calling it hazard
- 11 analysis synonymous with safety analysis in 50.59.
- 12 MR. DYER: I guess in the way I understand it,
- 13 the way you are saying that it sounds to me like
- 14 this is understanding and using your licensing and
- 15 safety basis for your plant.
- 16 MR. MYERS: Yes.
- 17 MR. LOEHLEIN: Yes.
- 18 MR. DeSTEFANO: That's it.
- 19 MR. MYERS: That's it.
- 20 MR. DYER: The age old question we wrestled
- 21 with in the '90s was do licensees fully understand
- 22 what the licensing basis is for their plant.

1 MR. MYERS: What you see is we spent a great

55

- 2 deal of time where it appeared we really understood
- 3 that and you can see it in the quality of documents
- 4 that you reviewed. And then in the mid-'90s the
- 5 quality of those documents go from let's do a
- 6 safety evaluation to see if this is a problem to
- 7 justifying why the thing is operable. So you see
- 8 it's a very significant change in the level of
- 9 detail and understanding and your decisionmaking
- 10 process to get there.
- 11 MR. DeSTEFANO: I guess one of the most direct
- 12 examples is the -- I am trying to get my timing
- 13 correct here. I believe it was after Bulletin
- 14 97-01 when the -- No, it was earlier than that. I
- 15 can't remember the date. However, there was a
- 16 safety evaluation presented to the Commission on
- 17 behalf of the B&W owners group that the station
- 18 adopted. And basically it said in that safety
- 19 evaluation that the issue of cracking is not a
- 20 short-term issue and the visual inspection that is
- 21 required by Bulletin 88-05 would identify a
- 22 cracking if it did occur. Then when the station

1 found leakage and had boric acid on the vessel

56

- 2 head, a condition report response justified
- 3 operating with boric acid on the head and acid on
- 4 the head without performing an examination of
- 5 surfaces below it. That was obviously contrary to
- 6 the safety evaluation that had been submitted
- 7 previously. And no analysis or justification was
- 8 performed in the 50.59 space. It was just a
- 9 discussion in the condition report response that
- 10 said because of the high temperature it's okay to
- 11 leave the boric acid there. So that's an example.
- 12 MR. JACOBSON: This was a 1993 safety
- 13 evaluation, B&W?
- 14 MR. DeSTEFANO: I believe so. I think it was
- 15 early '90s.
- 16 MR. LOEHLEIN: And I think the condition
- 17 report you're referring to is a '96 timeframe.
- 18 MR. DeSTEFANO: Correct. 551, yes.
- 19 MR. JACOBSON: I think I heard you say that
- 20 you found a deterioration of your 50.59 process in
- 21 the mid-'90s. Did I hear you say that?
- 22 MR. LOEHLEIN: Not the process itself.

- 1 MR. DeSTEFANO: No, it was the procedures --
- 2 say the condition reporting procedures that would
- 3 tell you to go perform a 50.59 review. The
- 4 deterioration was in the condition reporting
- 5 procedure.
- 6 MR. LOEHLEIN: The entry dates to the process
- 7 that you rely on to apply. Once you were in the
- 8 process that was not really the problem.
- 9 MR. DYER: I guess following that same line of
- 10 reasoning I had a question regarding the overlap if
- 11 you would between handling the technical infor-
- 12 mation and then the hazard assessment process as it
- 13 would relate, say, to the 50.59 issue. And the
- 14 question I have is -- one is are you also saying
- 15 that you aren't -- that once you make a response
- 16 to, say, a piece of technical information or evaluate
- 17 a generic letter or an info notice or bulletin or
- 18 some sort of generic industry communication that
- 19 you don't keep track of it as to what you said
- 20 originally or whether or not you later on crossed
- 21 the threshold of the area of concern that's raised
- 22 in that technical information?

1 MR. DeSTEFANO: We found both cases. Obviously

58

- 2 the station has a tracking system for commitments,
- 3 and it's used. But we found some cases where
- 4 commitments were not entered into that system after
- 5 responding to bulletins. So yes, the information
- 6 that was documented previously was not bounced off
- 7 of what the current line of thinking would be.
- 8 MR. MYERS: We have a document we use at two
- 9 of our other plants called Tech 19. When we get
- 10 into if we classify a CR correctly to high level,
- 11 we go through a decisionmaking process that kicks
- 12 us out all these issues. The same document was not
- 13 used at Davis-Besse. And it drove us into doing a
- 14 more stringent safety analysis when we found this
- 15 problem. First, we would have had to classify it
- 16 properly. Second, we would have had to go through
- 17 the right questions and answers. It's just a check
- 18 sheet we use to make sure we go down the right
- 19 path, you know. We went just the opposite here.
- 20 CHAIRMAN GROBE: So you are not actually
- 21 talking about formally entering 50.59. What you're
- 22 talking about is in making decisions and evaluating

- 1 hazards, considering the types of issues that 50.59
- 2 would require of you?
- 3 MR. MYERS: Right.
- 4 MR. LOEHLEIN: That's it.
- 5 MR. MYERS: That's it.
- 6 CHAIRMAN GROBE: On all of these CRs or most
- 7 of them I would think the answers to the screening
- 8 questions for 50.59 would be no and that you
- 9 wouldn't do a safety evaluation.
- 10 MR. LOEHLEIN: Right.
- 11 CHAIRMAN GROBE: What you are saying is using
- 12 those concepts, whether or not the staff uses those
- 13 concepts in decisionmaking.
- 14 MR. MYERS: Right.
- 15 MR. LOEHLEIN: That's correct.
- 16 MS. LIPA: I guess I was thinking of it
- 17 differently. For that one example, the '96 CR, are
- 18 you saying that that B&W owners group became part
- 19 of your licensing basis and you later had a
- 20 condition that was different; it may have really
- 21 needed 50.59?
- 22 MR. DeSTEFANO: Well, let's see. It was not

- 1 directly referenced in the safety analysis report,
- 2 that response. It also wasn't placed in the
- 3 commitment tracking system. So it would not have
- 4 been considered design or licensing basis by the
- 5 reviewer. What we're saying is it certainly should
- 6 take the person down the path of evaluating what
- 7 the previous stance on these items are.
- 8 MS. LIPA: Okay. Thank you.
- 9 MR. LOEHLEIN: Okay? Now, Jack, I don't know
- 10 what you and your staff had in mind in terms of
- 11 potential break. But my sense is from putting this
- 12 together that going through the management oversight
- 13 and risk assessment part of this is going to take a
- 14 little bit of time. I would say my guess is twenty
- 15 minutes or so. And so if you want to take a break,
- 16 this might be the time if that's the kind of
- 17 timeframe we're talking about.
- 18 CHAIRMAN GROBE: Okay. Let's do that. Let's
- 19 take a break. Let's make it very short. Five
- 20 minutes?
- 21 (Following an interruption the
- 22 meeting was continued as follows:)

- 1 CHAIRMAN GROBE: Why don't we get started.
- 2 Okay, Steve, go ahead.
- 3 MR. LOEHLEIN: For everybody's interest we're
- 4 on slide 25. And we'll talk about data analysis.
- 5 We will take a minute to express the process we
- 6 used to ultimately understand the reason for the
- 7 errors in management oversight. And the way we
- 8 began our understanding of evaluating or under-
- 9 standing this started from the technical root cause
- 10 report. And that report identified plant conditions
- 11 that should have been signed as potential larger
- 12 problems. We have got them listed there. In that
- 13 original or technical root cause report -- it was
- 14 figure 26 -- it talked about reactor coolant system
- 15 unidentified leak rate, containment radiation
- 16 monitor filter plugging, frequency of containment
- 17 air cooler cleanings, and boric acid accumulations
- 18 on the head. And it showed in the timeline which
- 19 went from about 1995 to 2002 how those things were
- 20 going on. And what we did from that initial
- 21 understanding, we saw some patterns and we decided
- 22 to look at along with other things the pressurizer

1 spray valve we talked about, how that was handled

62

- 2 by the station prior to the time that the corrosion
- 3 of the fasteners was found and turned into an event.
- 4 We examined these issues as missed opportunities
- 5 from the perspective that they were performance --
- 6 human performance errors but at the management
- 7 level. We first started to examine these as task
- 8 performance errors.
- 9 Slide 26. Originally I put this slide in
- 10 ahead of the figure that was next. And having
- 11 thought about it, I really think it would be better
- 12 if we look at this after we look at the figure
- 13 which is on sheet number 27. In the room here we
- 14 have a large poster-sized hard copy of this. The
- 15 staff has 11 x 17s, and I think there were probably
- 16 some extra copies available to those in the room.
- 17 This will appear as part of the report on a small
- 18 sheet on 8 1/2 x 11. What I am going to do with
- 19 this, I am going to take a little bit of time and
- 20 describe to everyone how this is laid out. It's a
- 21 variation of that figure 26 that was in the
- 22 technical root cause report but in this case

1 provides some differences in information.

- 2 I would like to start with -- I have got
- 3 a pointer here. You won't be able to see it real

63

- 4 well on the overhead it looks like. But what this
- 5 is here for those that are looking at the camera --
- 6 because I don't think we can see this paper in the
- 7 corner here -- this is the timeline. These blue
- 8 lines come from the refueling or the operating
- 9 cycles at the bottom. At the top we have these
- 10 kind of blue-colored or turquoise-colored bars.
- 11 That is the time period. And then going back here,
- 12 this is about 1995 where it starts. And those are
- 13 quarters you see, you know, three months to a
- 14 quarter type of thing. And they're showing you the
- 15 RCS unidentified leak rate right there over that
- 16 time period. And you will see right here in the
- 17 1998 timeframe there was an increasing rate of the
- 18 unidentified leak rate. At that time -- you can't
- 19 read it there too well -- but there was a pressurizer
- 20 code safety valve that had a seat leak. And we'll
- 21 talk about what happened with that. The plant took
- 22 a midcycle out of its year, and thereafter the

1 unidentified leak rate did reduce significantly

2 but, as you can see, did not diminish to the point

64

- 3 of the low levels that were seen prior to that. As
- 4 we know now from the technical root cause, it was
- 5 in this timeframe that we now understand the
- 6 significant corrosion of the head was starting
- 7 which would have been consistent with an increasing
- 8 leak rate as well.
- 9 As you proceed down here these blocks
- 10 present information on how the station was dealing
- 11 with the unidentified leak rate. The yellow bands
- 12 there represent information that's again repeated
- 13 from a technical root cause. It talks about how
- 14 frequently we were changing the filters on the
- 15 radiation monitors to deal with the plugging from
- 16 boric acid and iron oxide. Below it right here are
- 17 blocks to describe what the station was doing in
- 18 response to it. Down here is the frequency of
- 19 containment air cooler cleanings that was occurring
- 20 mostly in 1999 and since. One of the patterns you
- 21 can pick up here is the frequency tends to just
- 22 disappear toward the end of the fuel cycle when

- 1 boric acid in the system is significantly diminish-
- 2 ing in concentration. And here's the blocks that
- 3 provide information on that. The green down here
- 4 did not in any way appear this way on the technical
- 5 root cause analysis of cause. It describes the
- 6 station's response to the pressurizer spray valve
- 7 problems. And then in these blocks here there's a
- 8 description of what was found on the reactor head
- 9 in each of the refueling nozzles. I will try to
- 10 add some understanding to this. These colored bars
- 11 down here, you will see the blocks up here for the
- 12 rad water filters have red bands around them, and
- 13 then the containment air coolers have blue or
- 14 purple. I don't know how you see it where you are
- 15 looking. And then the green down here, that shows
- 16 the time period over which the station was dealing
- 17 with these. And from this or this kind of
- 18 combination, this timeline, the thing that really
- 19 becomes clear is in this timeframe, the 1998, '99,
- 20 2000 timeframe, the unidentified leak rate was
- 21 really unexplainably high. We had these other
- 22 three things happening at the same time, and we had

1 12RFO, we had the significant buildup of boric acid

66

- 2 on the head that was inconsistent with the amount
- 3 of flange leakage that was experienced at the
- 4 plant. The CRDM flange leakage that was reported
- 5 was very minor, yet the amount of boric acid on the
- 6 head was significant. So it was at this point in
- 7 this evaluation that the team decided that
- 8 evaluating this as a task performance error on the
- 9 part of the organization was not going to be
- 10 fruitful by itself. Because really the question to
- 11 be asked here is in light of all of these concur-
- 12 rent circumstances, why didn't the organization
- 13 recognize the significance.
- And now if we can back up just a minute
- 15 to slide 26, the thing we picked up from this
- 16 pattern-wise is now we listed twenty-two condition
- 17 reports. But it was twenty-two just from boric
- 18 acid on the head, containment air coolers and rad
- 19 monitor filters, just from those three things. We
- 20 actually had added to those the unidentified leak
- 21 rate issue and the RC 2 pressurizer spray valve.
- 22 In all of those this pattern is repeated. It's the

1 same one that we talked about in the corrective

67

- 2 action program. Operability and operational
- 3 impacts were underestimated, the categorization of
- 4 the condition reports was low, there were no root
- 5 causes really called for to be performed on these
- 6 issues and no collective significance recognized.
- 7 Some of the corrective actions were deferred or
- 8 they just treated the symptoms. And except for the
- 9 unidentified leak rate, there was no visible senior
- 10 management sponsorship of resolving it here. So
- 11 where this really sent us, what we said that we
- 12 really need to evaluate here is not peoples' errors
- 13 in performing tasks. This is really a question
- 14 of -- and now we will go to slide 28 -- it's a
- 15 question of risk management. This is a case where
- 16 the organization did not recognize the significance
- 17 of the plant condition.
- 18 So the concern here was why didn't we
- 19 recognize it. And the way we approached that is we
- 20 took the conclusions from the other sections that
- 21 you have heard about today, the technical information,
- 22 the way we used 50.59, corrective action program

- 1 and all those, fed that information into this,
- 2 added to it some additional MORT analysis that we
- 3 did in assessing management policies and incentives
- 4 and numerous interview insights that we got. We
- 5 put that all together and evaluated it under the
- 6 MORT section that's called risk assessment and
- 7 formed the following conclusions: At the beginning
- 8 of the mid-1990s the management focus became one of
- 9 production concerns. What we found was there was
- 10 a -- First of all, it was a single unit utility.
- 11 There was a belief that it was fighting for its
- 12 survival. Cost control became a big concern. At
- 13 this same time the rigor in assessing issues for
- 14 their potential impact on nuclear safety diminished.
- 15 There was a management team -- senior management
- 16 team in place at the time which developed a
- 17 philosophy that compliance meant safety. Head
- 18 issues, for example, were never resolved because
- 19 they were interpreted as not to be compliance
- 20 issues. Containment air coolers, the rad monitor
- 21 filters, the pressurizer spray valve, these
- 22 equipment problems were all managed rather than

1 resolved because requirements for operation could

2 be met by managing them rather than resolving them.

69

- 3 We had a management style in place that was less
- 4 directly involved and really relied on subordinates
- 5 to escalate concerns.
- 6 I guess I would like to take some time
- 7 now and describe some contrasts. In 1992 -- we
- 8 talked about this briefly earlier -- containment
- 9 air coolers were flooding. At that time one of the
- 10 issues that was identified was a leak on a head
- 11 vent line. There was extensive root cause done on
- 12 that, a good one. There were engineering reviews
- 13 done at the time that the containment air coolers
- 14 were flooding that went into significant detail
- 15 about the current conditions of lake temperature
- 16 and all the factors important for operations to
- 17 understand how to ensure that that system was
- 18 operable, how to keep it operable, and how to deal
- 19 with the situation so it could be fixed. When the
- 20 containment air cooler plugging situation occurred
- 21 in 1998, six years later, there was no new
- 22 engineering work applied to that. In fact, a

- 1 criteria that talked about what plenum pressure
- 2 would keep the system operable was just directly
- 3 applied with no question as to its applicability.
- 4 We also had interview information that told us how
- 5 differently the situation was handled in terms of
- 6 the approach to issues. We got a lot of anecdotal
- 7 stories from people saying that senior management
- 8 at the time in the early '90s if they heard about
- 9 boric acid on the head wouldn't talk about it, just
- 10 insisted it be cleaned off and done so
- 11 immediately. Contrast that to how this station
- 12 dealt with it in the late '90s. There was a
- 13 question about dose and how does dose factor into
- 14 this. What we found was this dose -- and I will
- 15 ask for help from my colleagues here if I don't
- 16 recall this correctly -- but the real -- the thing
- 17 that was unique about how dose, dose almost became
- 18 a production-related type of thing. Dose was
- 19 viewed as owned by the health physics department.
- 20 Health physics would allocate the amount of time to
- 21 do a certain job based on the goals for dose. And
- 22 it ended up being a situation where dose was another

- 1 indicator being managed. In fact, the containment
- 2 air coolers and the fact that they were plugging
- 3 were treated as an issue for this station from the
- 4 health physics perspective because the containment
- 5 entries and the cleaning was causing people to take
- 6 dose. And that was, we could tell, the most
- 7 important concern. We had to clean the coolers so
- 8 much so that the equipment was bought that would
- 9 allow them to clean it more quickly. I don't know
- 10 if that answers your questions about dose, but dose
- 11 itself was not -- beyond that kind of understanding
- 12 was not a player in the root cause for this event.
- 13 I forget who on the NRC -- Jack, you had a
- 14 question about dose?
- 15 MR. GROBE: Yes.
- 16 MR. LOEHLEIN: That was a perspective on dose.
- 17 You want us to comment beyond that?
- 18 CHAIRMAN GROBE: Let me just ask a question.
- 19 You indicated that dose became somewhat of a
- 20 production -- became a production-oriented concept.
- 21 MR. LOEHLEIN: For the people involved it was
- 22 their performance indicator. Mario says he can

- 1 help me out on that too.
- 2 MR. DeSTEFANO: That was definitely another
- 3 performance indicator. So that was our correlation
- 4 to production. The folks during an outage had a
- 5 goal, incentive goal that was associated with
- 6 minimizing their dose. So the RP tech in the field
- 7 can control the dose of the station by how much
- 8 time they allowed a person to be on the job. And
- 9 interviews that were conducted asked okay, if there
- 10 wasn't enough dose allowable to perform a function,
- 11 what happened next? Did the workers leave the
- 12 area, go and set up a recovery plan and reenter
- 13 with a new plan? And the answer that we received
- 14 was no, RP didn't hear about it. Nothing was
- 15 escalated through their chain of command to help
- 16 resolve any issues between what work had to get
- 17 done and how much dose was going to be -- how much
- 18 dose it would take to perform those functions. So
- 19 unfortunately control of dose became simply
- 20 associated with meeting a goal rather than
- 21 performing in the ALARA fashion to accomplish
- 22 performing a task that had to get done.

- 1 CHAIRMAN GROBE: So, in fact, dose became a
- 2 criteria for not completing a job.
- 3 MR. DeSTEFANO: Exactly.
- 4 MR. LOEHLEIN: It became a force where workers
- 5 needed to overcome it. Like in 12RFO, ultimately a
- 6 significant amount of dose was used in attempts to
- 7 clean the head. I think it was 1600 milligram was
- 8 the number and 280 or so man-hours involved in
- 9 attempting to clean the head. So when ultimately
- 10 the decision was made to do all that could be done,
- 11 dose was expended. But whoever had that job had to
- 12 overcome that barrier. What we saw was there
- 13 wasn't -- managing dose didn't appear to be a team
- 14 effort in trying to get the job done and minimize
- 15 dose at the same time. It was more a case where
- 16 dose was kind of a more direct goal and could to
- 17 some jobs represent a restriction to getting it
- 18 done. Is that clear?
- 19 MR. DeSTEFANO: A fair characterization.
- 20 MR. MYERS: At our other plants, you know, the
- 21 two I have been at, if you look at our dose during
- 22 an outage, we all have dose goals. But when we get

- 1 to 9% of, say, an estimated goal, we'll stop and
- 2 figure out if we didn't improve the dose some way
- 3 or reallocate dose somewhat, let's not do the job.
- 4 That's a little different mentality.
- 5 MR. DYER: Did you have the same mentality
- 6 also, say, with the outage schedule? If you had a
- 7 job that said clean the vessel head and it was
- 8 allotted, I don't know, 48 hours in the slot, at
- 9 the end of 48 hours if it wasn't done, was it --
- 10 MR. DeSTEFANO: We found that specific case in
- 11 one outage. And that was the outage where the
- 12 attempts were being made to clean the vessel head.
- 13 However, one of the major factors was it was time
- 14 to reinstall the vessel head, and also the folks
- 15 involved with the activity believed that they could
- 16 not successfully accomplish it with the equipment
- 17 they had on hand and had done enough for that
- 18 particular time period.
- 19 MR. LOEHLEIN: Yes. I really think that it
- 20 was two-fold.
- 21 MR. DeSTEFANO: It was a combination.
- 22 MR. LOEHLEIN: It wasn't just simply the dose

1 aspect. If you talk to people you will find there

75

- 2 was really no way else to do it at this point to
- 3 make it any better anyway. So in terms of their
- 4 preparation -- Some of these issues of outage
- 5 pressure may reflect more on outage preparation,
- 6 were the right contingencies in place to have taken
- 7 care of it rather than just at the time say well, I
- 8 am not getting enough time. So that type of issue
- 9 came up. People felt it from time to time. But in
- 10 terms of a direct impact, we found as much infor-
- 11 mation that told us that what preparations we made
- 12 and the tools that we had had been used to the
- 13 extent they could be, and so that was as far as it
- 14 went, that outage.
- 15 MR. MYERS: What we did find in the situation
- 16 at the beginning was we found the boron, went to
- 17 clean the head, we gave them some extra dose and
- 18 some extra time.
- 19 MR. LOEHLEIN: It was certainly in 12RFO. It
- 20 happened a number of times in 12.
- 21 MR. DYER: When a decision is made to leave
- 22 work undone -- this goes back to your hazard

- 1 analysis -- are the potential consequences of the
- 2 as-left condition evaluated whether or not it's
- 3 acceptable?
- 4 MR. LOEHLEIN: That was not done in this
- 5 case. No, that was not done.
- 6 MR. MYERS: That was not done.
- 7 MR. LOEHLEIN: The other thing we did in
- 8 evaluating this conclusion here was we took a look
- 9 at the management team in place at the time in the
- 10 late '90s and patterns in their beliefs about what
- 11 represented safety. And that's where we got a
- 12 clear message that things like the head issue would
- 13 have been dealt with from a mod perspective and so
- 14 forth had it been identified as a compliance issue.
- 15 And we see that pattern in the belief structure of
- 16 the management team that, you know, compliance equals
- 17 safety. And it was compliance as they understood
- 18 it. And that's part of the loss of safety focus.
- 19 Nuclear safety goes beyond just what the picture is
- 20 of compliance. I think all of us in the industry
- 21 know that.
- 22 MR. MYERS: We have some fans. They are for

- 1 containment. They didn't work. So we did an
- 2 engineering evaluation to find out why we didn't
- 3 need it rather than repair it, you know? So you're
- 4 just eating up your margin. We repair it today and
- 5 put a new motor on them and put them back in service.
- 6 It was like can we justify we don't need them. And
- 7 the analysis, we do an analysis, that's fine. So
- 8 we lost margin there. We met the requirements.
- 9 MR. LOEHLEIN: So the results of this pattern
- 10 or this change in focus show on slide 30. We found
- 11 cases where the plant was restarted to run for
- 12 extended periods with some degraded components.
- 13 The ones that are obvious are the pressurizer spray
- 14 valve RC 2 which the plant decided to run it,
- 15 manage that leak, do a little repair. Then the
- 16 containment air coolers were plugging. That was
- 17 tolerated until they had been cleaned seventeen
- 18 times at the same time that a high unidentified
- 19 leak rate was tolerated and turned out to be near
- 20 the tech spec limit, .8 gallons per minute. So
- 21 plant behaviors represent this production focus and
- 22 this loss of safety focus.

1 We also found through a lot of interviews

- 2 that personnel performed with the philosophy that
- 3 issues were not considered serious unless they were

78

- 4 proven to be serious. That really wasn't the
- 5 standard for getting a high category assigned to a
- 6 condition report. Just the concern alone was not
- 7 enough to get a high category. People felt that
- 8 you had to demonstrate a direct impact to plant
- 9 safety, and this contributed to the low
- 10 categorization.
- 11 And finally while this was going on --
- 12 And the rigor I have described earlier, rigor in
- 13 some of the important processes was declining at
- 14 the same time. While all this was going on the
- 15 threat of a crack, a nozzle leak and potential for
- 16 corrosion to the reactor head itself was increasing.
- 17 The plant was aging, the nozzles were becoming from
- 18 a probability standpoint more and more likely to
- 19 have this problem. So those things crossed in
- 20 time. We see the end result is the corrosion to
- 21 the reactor head.
- 22 So that really completes the data analysis

- 1 and the conclusions from the data that I was to
- 2 present today. What I was going to move on to now,
- 3 Jack, is the actual root cause and contributing
- 4 cause statements that we developed.
- 5 MR. DYER: Steve, I guess that last bullet
- 6 that you talked about, rigor in processes decline
- 7 at the same time that the threat of head damage
- 8 increased, are you referring to the -- I mean
- 9 physically the age of the plant was getting worse.
- 10 Also there's becoming a greater and greater body of
- 11 industry information that's saying it's a problem.
- 12 MR. LOEHLEIN: That's true. But as we pointed
- 13 out, the failings here were that information was
- 14 selectively interpreted. So the threats were not
- 15 incorporated in a way that the organization was
- 16 able to use them. The rigor in processes declined
- 17 we talked about were varying types. In some cases
- 18 we talked about recognizing the entry in the
- 19 processes that are to evaluate nuclear safety
- 20 declined. But it was also true that the plant's
- 21 own rigor in implementing processes was declining,
- 22 weaknesses in following processes as they were

- 1 written was declining. And it came back to the
- 2 station taking on a less than adequate focus on
- 3 nuclear safety and doing what's necessary
- 4 apparently to run the plant.
- 5 MR. MYERS: So the piece of equipment was
- 6 degraded. As long as it met the minimum
- 7 operability requirements and didn't affect
- 8 production, it was okay. Is that fair?
- 9 MR. LOEHLEIN: I am sorry?
- 10 MR. MYERS: The piece of equipment was
- 11 degraded. As long as it met the operability
- 12 requirement we could justify that and didn't affect
- 13 production.
- 14 MR. LOEHLEIN: If it could be kept operable
- 15 within how compliance was interpreted and it could
- 16 be managed from a maintenance standpoint, it was
- 17 accepted. That's the fact here.
- 18 CHAIRMAN GROBE: Back on slide 29 you have a
- 19 comment rigor in assessing issues for their
- 20 potential impact on nuclear safety diminished and
- 21 then taking minimum actions to meet regulatory
- 22 requirements was interpreted to be adequate for

- 1 nuclear safety. But you said earlier that had you
- 2 implemented -- even though the boric acid corrosion
- 3 control procedure could have been better, had you
- 4 implemented it the way it was written, it would
- 5 have been sufficient.
- 6 MR. LOEHLEIN: Right.
- 7 CHAIRMAN GROBE: So you didn't comply with the
- 8 regulatory requirements to implement your procedures.
- 9 I think I heard, Lew, you just said that you were
- 10 taking the minimum actions to meet operability
- 11 requirements.
- 12 MR. MYERS: Right.
- 13 CHAIRMAN GROBE: But that didn't include
- 14 necessarily complying with your station procedures.
- 15 MR. MYERS: All of these are true.
- 16 MR. LOEHLEIN: Right. And taking the minimum
- 17 actions -- and I think I used the words earlier --
- 18 as that was believed or interpreted. For example,
- 19 it was believed that boric acid on the head was not
- 20 a compliance issue. Yet if you look at the actual
- 21 process that was in place, it required that boric
- 22 acid be removed and understanding the source of

- 1 leakage had to be determined. So once again it
- 2 wasn't viewed as a compliance issue, but certainly
- 3 compliance with the process should have been an
- 4 issue.
- 5 CHAIRMAN GROBE: And why wasn't it viewed as a
- 6 compliance issue?
- 7 MR. LOEHLEIN: Focus was wrong is what we
- 8 concluded. In other words, they did not recognize
- 9 it because their focus was on compliance just meant
- 10 that it was operable because we understand why it's
- 11 not a threat. So there's a real loss in understand-
- 12 ing how to apply those processes that are designed
- 13 to keep you on the straight and narrow.
- 14 MR. MYERS: For example, we documented that
- 15 the boron on the head since it was not -- it was
- 16 dry, it wouldn't deteriorate the head was not a
- 17 nonconformance.
- 18 MR. LOEHLEIN: Correct.
- 19 MR. MYERS: It was not a nonconformance.
- 20 Clearly if you go back and look at 97-01, you
- 21 haven't met the requirements.
- 22 MR. LOEHLEIN: That was the misstep. The

- 1 misstep is we stated it was not a nonconforming
- 2 issue, yet it was not recognized as that and it
- 3 was accepted. The condition should have been
- 4 supported by an evaluation as to why that still met
- 5 the requirements, and it wasn't done. And that
- 6 goes back to what I said earlier. We found we
- 7 really couldn't evaluate task performance errors
- 8 because it wasn't so much people were doing tasks
- 9 wrong as they weren't recognizing what was in front
- 10 of them. They weren't recognizing the risk. It
- 11 goes back to the focus, the loss of a safety
- 12 focus. And we did find that as evidenced by the
- 13 site participating in the corrective action program
- 14 that that pattern, that lack of recognition
- 15 extended to all levels of the organization. So it
- 16 was a site approach thing.
- 17 MS. LIPA: I have a question on that. I was
- 18 thinking about if there was less emphasis on repair-
- 19 ing items if you could justify operability. I
- 20 would think this might show up in this increasing
- 21 maintenance backlog or closing CRs too early. Did
- 22 you see any trends there?

1 MR. LOEHLEIN: Well, you know, this was a

84

- 2 pretty big investigation. Some of the trails we
- 3 couldn't expand on maybe to the extent that you're
- 4 questioning. But we did see some of that. We saw
- 5 cases where condition reports were counting on other
- 6 condition reports to answer a piece of the puzzle.
- 7 But when we went there, the other condition report
- 8 really wasn't covering that issue. So some deadends
- 9 there. So going back to cause analysis, there were
- 10 things, sometimes just facts stated that there must
- 11 be a leak in containment somewhere and that's the
- 12 cause for this, and then that's all that was said
- 13 about it. So we did see cases of superficial
- 14 review. As far as backlogs go and the impact to
- 15 backlogs, we didn't attempt to assess that.
- MR. DYER: Let me ask on page 29 and on page
- 17 30 also in connecting the dots if you would or the
- 18 bullets. In particular it talks about -- the one
- 19 subbullet where it talks about taking minimum
- 20 actions to meet regulatory requirements was
- 21 determined to be adequate for nuclear safety adding
- 22 that at that time -- second bullet -- where

- 1 personnel performed with a philosophy that issues
- 2 were not serious unless they were proven to be. If
- 3 I connect the dots on that I come up with a solution
- 4 or a conclusion that says that your safety
- 5 threshold was geared towards unless the NRC drives
- 6 the issue, it's not going to be addressed by the
- 7 plant. I would like a comment on that.
- 8 MR. LOEHLEIN: Well, I would say that there
- 9 were a few times -- in the information we have a
- 10 few times where that perspective was seen by
- 11 certain people is that that's the way they looked
- 12 at it in some cases. They didn't believe that it
- 13 was a real technical issue. Their understanding of
- 14 it was flawed. Their opinion was well, if it
- 15 becomes regulatory driven we'll have to deal with
- 16 it, otherwise we won't. There was some of that.
- 17 But the real issue in terms of the philosophy of
- 18 proving the category was this became important even
- 19 from a standpoint of the performance indicators for
- 20 the station that looks at the effectiveness of the
- 21 corrective action program.
- 22 The corrective action program performance

- 1 indicators look at a couple things. One is it looks
- 2 at initiation. And it found, I think, the same
- 3 thing we found. Despite what some people think
- 4 about initiation, we saw plenty of condition
- 5 reports initiated. So we didn't see problems with
- 6 the organization identifying the issue. But the
- 7 rest of the things are looked at and the indicators
- 8 rely on the categorization being correct. Because
- 9 it talks about looking at the upper level condition
- 10 reports and seeing that they're handled properly.
- 11 So if they're categorized too low, the performance
- 12 indicator won't see them. And that's one of the
- 13 things we're recommending come out of this, that
- 14 the performance indicators, the things we measure
- 15 need to look at that to be able to tell whether the
- 16 organization is properly interpreting the potential
- 17 for a nuclear safety issue, not just a proven
- 18 nuclear safety issue.
- 19 CHAIRMAN GROBE: Okay.
- 20 MR. LOEHLEIN: So slide 31 is a restatement of
- 21 the management oversight root cause statement made
- 22 at the beginning when we talked about less than

1 adequate nuclear safety focus. The important thing

- 2 here is this combination of it wasn't just the
- 3 production focus. Production we understand. If
- 4 anything is assumed in the power business is people
- 5 would like to produce power. So the desire to
- 6 produce power is not an issue by itself. What is
- 7 important is combined with trying to meet minimum
- 8 actions for nuclear safety is a root cause here.
- 9 The root cause under the corrective
- 10 action program has a number of subbullets. The
- 11 overall root cause is that there was inadequate
- 12 implementation of the corrective action program.
- 13 The corrective action program required higher
- 14 categorization in some of these cases because they
- 15 were repeat events and so forth and that did not
- 16 happen, and some of the other things that are
- 17 listed there, addressing symptoms rather than
- 18 causes, categorization we talked about, we had less
- 19 than adequate cause determinations, less than
- 20 adequate corrective actions and poor equipment
- 21 trending.
- 22 Under technical rigor -- And, by the

- 1 way, these are under the four areas we mentioned at
- 2 the very beginning.
- 3 CHAIRMAN GROBE: Steve, part of the corrective
- 4 action program is identifying issues.
- 5 MR. LOEHLEIN: Right.
- 6 CHAIRMAN GROBE: After the 2000 outage, was it
- 7 identified that there were corrosion products in a
- 8 CR flowing out of the weep holes?
- 9 MR. LOEHLEIN: When you say after --
- 10 CHAIRMAN GROBE: During the outage?
- 11 MR. MUGGE: Yes.
- 12 MR. LOEHLEIN: Yes, there were condition
- 13 reports.
- 14 MR. MUGGE: 00-1037 documented that.
- MR. LOEHLEIN: What didn't happen with that is
- 16 there was no evaluation or any follow-up evaluation
- 17 saying anything about the acceptability of that or
- 18 resolving it. I think the only plant response,
- 19 Bill, was that, right?
- 20 MR. MUGGE: Right.
- 21 MR. LOEHLEIN: It was identified on a condition
- 22 report.

- 1 MR. MYERS: As a matter of fact, there it is.
- 2 MR. LOEHLEIN: It's even on this chart here if
- 3 you go back to whatever figure that was. What
- 4 sheet is it?
- 5 MR. DeSTEFANO: 27.
- 6 MR. LOEHLEIN: 27? In this light I can't see
- 7 it on this small one.
- 8 MR. MYERS: It's this one here.
- 9 MR. LOEHLEIN: CR 00-1037.
- 10 CHAIRMAN GROBE: Okay.
- 11 MR. LOEHLEIN: We're on slide 33, root cause,
- 12 technical rigor. Here the root cause was failure
- 13 to integrate and apply key industry information
- 14 specifically as it relates to the boric acid
- 15 corrosion control program and to compare new
- 16 information to baseline information that came in.
- 17 This is a reference to examples like Generic Letter
- 18 97-01.
- 19 The root cause under program compliance,
- 20 some steps in the boric acid corrosion control
- 21 procedure were not followed. Some specific
- 22 important examples were that we did not remove the

1 boric acid from the head. The station did not

2 inspect the areas under the boric acid and did not

90

- 3 perform technical analysis or safety evaluations to
- 4 support decisions to leave boric acid on the head.
- 5 We had two contributing causes that we
- 6 show on slide 35. Some decisions were made without
- 7 considering the need for a safety analysis. Really
- 8 throughout the development of the conditions as we
- 9 talked about them there were no safety evaluations
- 10 conducted or even considered necessary except there
- 11 were those done for the temporary modifications
- 12 that were done in supporting treating symptoms that
- 13 appear on sheet 27. That's when we brought high
- 14 efficiency air filters in the containment. That
- 15 was an attempt to deal with the iron oxide in the
- 16 atmosphere. That temporary modification is also
- 17 the one that bypassed the iodine cartridges because
- 18 of the problems with boric acid containment in the
- 19 atmosphere. Those both did receive treatment under
- 20 the 50.59 process.
- 21 The other contributing cause is the
- 22 corrective action program, we stated here, was not

- 1 state of the art. It really doesn't meet, in our
- 2 minds, industry standards particularly on the back
- 3 end in terms of equipment trending or repeat
- 4 equipment problems.
- 5 MS. LIPA: I have a question for you. You
- 6 will probably get into this later in corrective
- 7 actions. If your corrective action program is
- 8 common for all three plants, have you done an
- 9 assessment of the Davis-Besse implementation?
- 10 MR. LOEHLEIN: Yes, there is a nuclear
- 11 operating procedure FENOC-level procedure that
- 12 requires effectiveness in that area. It does right
- 13 now provide a lot of leeway for each individual
- 14 site to decide how it's going to do that. And at
- 15 Davis-Besse it does appear as though it's largely
- 16 nonexistent. Right, Bobby, the equipment trending?
- 17 MR. VILLINES: Yes.
- 18 MR. LOEHLEIN: And that's not the case at the
- 19 other stations. But yes, we are as part of this
- 20 considering under all common processes those things
- 21 that may affect the other stations. You want to
- 22 comment on that?

- 1 MR. DeSTEFANO: As part of the program
- 2 evaluations that are occurring right now the
- 3 corrective action program evaluation was performed
- 4 by all three stations at the same time. So the
- 5 knowledge level, the current status of the program
- 6 and where it should be has already been obtained by
- 7 all three stations.
- 8 MR. MYERS: Let me tell you this too: I
- 9 believe as I sit here today there's going to be
- 10 some enhancements that we will make to the function
- 11 of that process at all three sites. We already are
- 12 using that model. You have probably seen that
- 13 before at two of our sites. We will start using it
- 14 at Davis-Besse as well. But in our corrective
- 15 action process we will probably go back and do
- 16 enhancements to our programs.
- 17 CHAIRMAN GROBE: I think, Steve, at this point
- 18 that you have got some other key observations
- 19 you're going to go into. But you have summarized
- 20 the process that you have gone through, the
- 21 conclusions in each of the areas that you came to,
- 22 and then on pages 31 through 35 summarized what you

- 1 believe are the root causes and contributing causes.
- 2 Quite frankly, you have presented an extraordinary
- 3 amount of information. And I am sitting here in my
- 4 mind trying to walk through all of the various
- 5 performance deficiencies that I am aware of and
- 6 trying to see where they fit into these root causes
- 7 and whether this is complete. And that's the kind
- 8 of analysis we're not going to be able to do today
- 9 but we're going to have to do over the next several
- 10 weeks to be able to evaluate this and conclude, in
- 11 fact, that your root cause is comprehensive and
- 12 adequate.
- 13 MR. LOEHLEIN: And in the report we do the
- 14 best job we could at trying to lay this picture out
- 15 so that it can be interpreted in exactly the way
- 16 you're stating, Jack, so that there are a lot more
- 17 of the facts presented. And we try to do it in
- 18 such a way that the conclusions can be followed
- 19 clearly. And we do expect that's exactly what you
- 20 will do is you will examine this.
- 21 CHAIRMAN GROBE: Has this report been
- 22 submitted on the docket?

- 1 MR. LOEHLEIN: It's approved on site.
- 2 MR. MYERS: It's approved on site, but we sent
- 3 it to you by letter.
- 4 MR. LOEHLEIN: Yesterday we were preparing the
- 5 letter.
- 6 CHAIRMAN GROBE: So we can expect that next
- 7 week?
- 8 MR. MYERS: Right. We can give you a copy of
- 9 it today if you want it.
- 10 CHAIRMAN GROBE: That would be great. Okay.
- 11 Any other questions on the root cause or
- 12 contributing cause before Steve goes on to other
- 13 key observations?
- 14 MR. LOEHLEIN: The next two slides provide
- 15 observations. Observations are things that we felt
- 16 were important to mention in the report, but they
- 17 did not tie directly to the damage occurring to the
- 18 head and it going unnoticed.
- 19 There are some design aspects. Certainly
- 20 alloy 600 is something that deserves mention. And
- 21 the gasket design in the CRDM flanges which has
- 22 been a problem for this plant historically now has

- 1 apparently been resolved. One of the items was
- 2 training was not provided to individuals performing

- 3 inspections for boric acid. It was not considered
- 4 a contributing cause because, once again, the
- 5 knowledge of the personnel involved in our judgment
- 6 was adequate to recognize the significance of the
- 7 boric acid that was found. Another observation was
- 8 inspection activities and corrective actions were
- 9 not coordinated through the boric acid corrosion
- 10 control coordinator. This was really just another
- 11 failing of the process, was not critical in the
- 12 outcome but is an observation. The boric acid
- 13 corrosion control procedure did not specifically
- 14 reference the nozzles as one of the probable
- 15 locations of leakage. And that has been captured
- 16 as part of our response to the Generic Letter
- 17 97-01.
- 18 Slide 37. The condition reports
- 19 associated with the boric acid issue tended to stay
- 20 unresolved until significant degradation occurred.
- 21 That's the pattern that was observed with the
- 22 pressurizer spray valve and again with the head.

1 The next bullet mentions we found there was little

96

- 2 evidence of quality assurance's involvement and
- 3 that their documented findings were mixed quality.
- 4 What happened here is that the company decided a
- 5 while back now to do a separate root cause
- 6 investigation of quality assurance's lack of
- 7 effective impact on the outcome. And that root
- 8 cause is ongoing right now. I think it is nearing
- 9 completion.
- The next two bullets talk about things we
- 11 found in terms of the monetary incentive program
- 12 and the way it rewards senior levels and written
- 13 policies and their treatment of safety. We really
- 14 didn't find a tie-in with these to the way and the
- 15 reasons why people made decisions. Particularly in
- 16 the monetary incentive program the changes to that
- 17 had been pretty recent. But in order for the plant
- 18 to move toward a proper safety focus, we felt the
- 19 need to point these out because they need to
- 20 deliver the right safety message both in terms of
- 21 incentive and in terms of policy. So we put them
- 22 in the report as something that needs to be looked

- 1 at.
- 2 CHAIRMAN GROBE: Steve, when you say fairly
- 3 recent, what timeframe are you talking about?
- 4 MR. LOEHLEIN: In the mid-'90s the incentive
- 5 program was -- A consistent level of safety got
- 6 treatment that was pretty consistent through the
- 7 organization up in terms of management. And then
- 8 as we went to the late '90s two shifts occurred.
- 9 Top level management started to get rewarded more
- 10 for production. And not only that but that became
- 11 more askew with lower levels. I believe even to
- 12 this day for the lower levels of the organization
- 13 the majority of the incentive still is based on
- 14 safety but not at the top level of the
- 15 organization. So that disconnect there does not
- 16 support good alignment in the organization going
- 17 forward. So the report recommends that the company
- 18 look at that.
- 19 MR. MYERS: And that was not, you know, a
- 20 deliberate management change. What happened is the
- 21 companies changed during that time. And when the
- 22 companies change, incentive programs change, right?

- 1 I mean it's just a different incentive program than
- 2 we used to have. I don't think it changed my
- 3 behavior whatsoever. But the factors are a little
- 4 different. They're very strong at the bottom,
- 5 probably not as strong at the top. That's
- 6 something we will go look at. But, you know, I
- 7 have been involved in that program now for several
- 8 years, and I don't think it's had anything to do
- 9 with my decisionmaking. But you contend -- you
- 10 think it's okay at the the bottom levels, though,
- 11 right?
- 12 MR. LOEHLEIN: Right.
- MR. DYER: At what time did this change? When
- 14 it was turned over to FENOC or when FENOC was
- 15 formed?
- 16 MR. MYERS: We went to FirstEnergy probably in
- 17 '97. The incentive programs are a little different.
- 18 Never really thought much about it to be real honest
- 19 with you. So, you know, I don't think it's a
- 20 contributor, but it might be something that we can
- 21 do to help. We're going to go back and look at that.
- 22 CHAIRMAN GROBE: The top level management

1 incentive programs are consistent across the three

99

- 2 sites?
- 3 MR. MYERS: Yes.
- 4 MR. LOEHLEIN: Yes, they are.
- 5 Another thing that struck the team as we
- 6 went through this was that operations had minimal
- 7 involvement in resolution of these issues. Their
- 8 participation is pretty much evident on the
- 9 condition report process when they do an assessment
- 10 on the impact to the station, and then pretty much
- 11 we didn't find them visible. There is a condition
- 12 report that is separately considering this as a
- 13 root cause being done on that particular thing in
- 14 the station as well, the lack of operations'
- 15 involvement.
- And finally in terms of observations we
- 17 had management had minimal entries into the
- 18 containment. We looked at 1998, the 11RFO. It had
- 19 improved some in 2000, 12RFO. But we do believe
- 20 that the management involvement in the containment
- 21 during outages is something that should be improved.
- 22 CHAIRMAN GROBE: Within this context you use

- 1 the word management. Are you referring to first
- 2 line supervisors?
- 3 MR. LOEHLEIN: We're talking really managers
- 4 and above.
- 5 CHAIRMAN GROBE: So that would be director
- 6 level in your organization?
- 7 MR. LOEHLEIN: We have managers and directors
- 8 and VP. I mean I work for Lew at Beaver Valley,
- 9 and I can tell you what the expectation has been
- 10 there. As manager over there I am in containment
- 11 several times at least myself. And our job is to
- 12 force standards and to make sure that we don't have
- 13 people unaware of where they are in containment and
- 14 a whole host of other things that we do.
- 15 MR. MYERS: I just believe that if we would
- 16 have had a little bit more management involvement,
- 17 if we would have seen the pictures of the head that
- 18 you showed a while ago or reviewed the videotapes,
- 19 that our decisions would have been the same as they
- 20 were in many cases on these corrective actions.
- 21 MR. DYER: I would like to go back to slide
- 22 37. You kind of brushed over the QA role in this.