



UNITED STATES DEPARTMENT OF STATE  
OVERSEAS BUILDINGS OPERATIONS



# INDUSTRY ADVISORY PANEL

## DECEMBER 13, 2007



I, Charles E. Williams, certify that this is the true and correct version of the Minutes of the December 13, 2007 Meeting of the Industry Advisory Panel.

Signed:



---

Charles E. Williams  
Director/Chief Operating Officer  
Overseas Buildings Operations

Date: 1/8/08

UNITED STATES DEPARTMENT OF STATE  
OVERSEAS BUILDINGS OPERATIONS

+ + + + +

INDUSTRY ADVISORY PANEL

+ + + + +

December 13, 2007  
9:30 a.m.

Department of State  
2201 C Street, N.W.  
Room 1107  
Washington, D.C.

CHAIR: GENERAL CHARLES E. WILLIAMS  
Director/Chief Operating Officer  
Overseas Building Operations

INDUSTRY ADVISORY PANEL MEMBERS:

CLARE ARCHER  
BILL FLEMMING  
NANCY ABER GOSHOW, AIA  
DARRYL K. HORNE  
GREGORY S. KNOOP, AIA, LEED-AP  
REGAN P. McDONALD, PE  
MARVIN OEY, Ph.D., PE  
SUMAN SORG, FAIA  
JOHN O. WOODS, JR., PE

PARTICIPANTS:

JONATHAN BLYTH  
PHYLLIS PATTEN  
JAY HICKS  
PAUL ROWE

**Free State Reporting, Inc.**  
1378 Cape St. Claire Road  
Annapolis, MD 21409  
(410) 974-0947

## PARTICIPANTS (cont.):

JOSEPH TOUSSAINT  
JOE CAMPBELL  
JÜRIG HOCHULI  
PATRICK McNAMARA  
MARCUS HEBERT  
WILL COLSTON  
JOHN FENNER  
MICHAEL SPRAGUE  
ADELET KEGLEY  
ANDREA WALK  
CARMEN MONTGOMERY  
ROBERTO COQUIS  
SONG KELLER  
SHIRLEY MILES  
BILL MINER  
KATHY BETHANY  
HERBERT TREGER  
STEPHEN KLEIN  
ROB McKINNIE  
NICK RETHERFORD  
NANCY WILKIE  
RICHARD GAUSSERES  
BRIAN SCHMUECKER  
GEORGE GLAVIS  
MICHAEL CHRISTENSEN  
DAVID LANGFITT  
ALEX WILLMAN  
JOHN ROBINSON  
ANGELA COLLINS  
LAURIE DENNIS  
REZA DARVISHIAN  
JOHN SMITHSON  
DENA RICHARDSON

## I-N-D-E-X

<u>AGENDA ITEM</u>	<u>PAGE</u>
Introduction by Gen. Williams	5
1. HVAC (revisited) - New Strategies for Improving Indoor Air Quality?	
DOS/OBO Champions:	
George Glavis	20
David Langfitt	24
George Glavis	32
IAP Champions:	
Darryl Horne	39
Questions and Comments	44
2. The Workforce (revisited) - The challenge of acquiring and sustaining a skilled workforce are widespread; how is industry dealing with this dilemma? How can we ensure the recruitment and retention of a quality workforce for the future?	
DOS/OBO Champions:	
Jonathan Blyth	58
Joe Campbell	65
Jonathan Blyth	69
IAP Champions:	
Bill Flemming	74
Regan McDonald	83
Questions and Comments	89
3. Value Engineering (revisited) - What is new and is it working for OBO?	
DOS/OBO Champions:	
Kathy Bethany	110

## I-N-D-E-X (cont.)

<u>AGENDA ITEM</u>	<u>PAGE</u>
IAP Champions:	
Greg Knoop	120
John Woods	123
Greg Knoop	124
John Woods	127
Greg Knoop	128
John Woods	128
Greg Knoop	129
Questions and Comments	132
4.    BIM (revisited) - What progress are we making in effectively implementing BIM?	
DOS/OBO Champions:	
Brian Schmuecker	133
IAP Champions:	
Clare Archer	142
Suman Sorg	150
Questions and Comments	152
5.    Project Closeout/Commissioning - What are the critical issues?	
DOS/OBO Champions:	
Rob McKinnie	165
IAP Champions:	
Clare Archer	178
Nancy Goshow	182
Presentation to Ms. Suman Sorg	185
Attendees' Comments	187

## P-R-O-C-E-E-D-I-N-G-S

(9:30 a.m.)

GENERAL WILLIAMS: Good morning. It's 9:30, so what we're going to try to do is stay on schedule. First of all, I would like to welcome each of you to our Industry Advisory Panel today. I was just reflecting a little bit last evening, and most of you know, my arithmetic is pretty good. This is our 19th IAP, and when this got started, we were probably one of the first organizations that decided to have such a panel. I understand there's a little mirroring of this around and about, but this has been a wonderful experience. It has been -- and I can say this because we are concluding the 7th year; in fact, it might have been this room back in 2000, when I joined Secretary Powell's transition team, and we did this before the Christmas holidays, and so this panel has been a very, very delightful arrangement.

So, from where I see it, it's been very helpful, very useful, and we've enjoyed all of the involvement; in particular, having our visitors. We try to make this as open as possible so that you can see what we're about, and hopefully we'll be in a position to de-conflict things that you hear about,

1 so that it can all move in the right direction.

2 We have our Court Reporter today, Tim  
3 Atkinson. He has been with us before, and he's here  
4 because he's very good, and so we request him by  
5 name. You know our works here are recorded and  
6 available; if anyone needs to retrieve them  
7 publicly, that's okay as well.

8 Anyone here for the very first time? Okay.  
9 Okay, we'll get to you later. Just let you know  
10 that you're welcome. You're fortunate because you  
11 don't have homework. When you come in these doors,  
12 you usually have some homework.

13 Do we have any administrative  
14 announcements, Michael?

15 MR. SPRAGUE: Just that if anyone needs to  
16 leave for any reason at all, to go to the  
17 facilities, whatever, there are staff waiting in the  
18 hallway that will escort you. You must be escorted  
19 at all times, and your badge must be clearly  
20 visible. We'll also be breaking for lunch around  
21 noontime, and I'll turn it back to General Williams.

22 GENERAL WILLIAMS: Okay, anything from  
23 Security? Okay. Fine. Okay, we're going to get  
24 started.

25 I'm going to start off by telling you that



1 I feel very good this morning because I have a lot  
2 of supporters, a little cheering section over here.  
3 These are former Board members, and I don't know why  
4 they showed up, but they are here today.

5 (Laughter.)

6 GENERAL WILLIAMS: But maybe they're trying  
7 to tell me something. But nevertheless, I'm  
8 delighted that our good friend Ida (ph.), who spent  
9 so much time on this board and was very, very  
10 helpful, she's back with us all the way from the  
11 west coast. And we've got Robin Olsen, who has been  
12 a long-standing supporter and friend from -- who sat  
13 on this Board, quite frankly, for many years, and  
14 she's back with us as well.

15 And then, let's see. Do we have any other  
16 alums here today? Okay. There may be others  
17 coming, but nevertheless, thank you for being here.

18 Okay, this morning, we will have one of our  
19 members that will be delayed -- well, will not be  
20 attending because he had an illness, but we all  
21 understand that, and so we just proceed ahead. But  
22 we do have Nancy, Darryl, Greg, and Bill and Clare  
23 and Suman and Regan, so we have a quorum, so we'll  
24 be ready to move forward.

25 Now, with that, I will do as we normally do

1 at the opening session: We'll give you an update of  
2 where we've been for the last three months. Some of  
3 this will be new information for you. We always  
4 repeat and try to tie the whole program together, so  
5 some of you will remember some of this, but it's  
6 important to repeat it.

7 Our mandate is very simple and  
8 straightforward. It's listed on the chart before  
9 you. We don't need to repeat that because it is  
10 very pivotal.

11 The next slide gives you the facts that we  
12 keep repeating because it's important to understand  
13 how we got started. I keep referring to the year  
14 2000 and what the picture looked like because it's  
15 only relative if you know the start point. There's  
16 no question the hole was pretty deep, and you can  
17 see what we've been able to get done. And of  
18 course, the statement at the bottom of the page is  
19 one that we are very proud of, the entire  
20 organization.

21 I think you know, on the next slide, that  
22 we are a results-based organization, and our  
23 results-based operation is centered around these  
24 four pillars, the last one being the most important  
25 because without credibility, we obviously could not

1 have gone from 1 to 16 because it takes funding to  
2 get that done, and you only get funding with  
3 credibility and proven performance.

4           Communication and transparency have been  
5 mantras for us because we've felt that we have to  
6 hold forums like this. We have to let all that are  
7 concerned know how we operate, and we even invite  
8 you to examine even how we do internal work, like on  
9 this chart. It shows how open we are, and how much  
10 we try to communicate. You can see everything from  
11 a monthly open door, where any member of the  
12 thousand or so people who work for us can come in  
13 and talk about anything they want, and we get 15 to  
14 25 people every month. Some people come in to just  
15 ask me how I'm feeling, and I appreciate that. Over  
16 one half of them do that, and occasionally we do  
17 have a bright idea that comes out, and sometimes  
18 there's a complaint or two. But nevertheless,  
19 people are able to communicate.

20           Then we have a weekly cross-cutting  
21 meeting, if you see down about number four there,  
22 which works well. Our Chief of Staff runs this, and  
23 that's a successor to the meeting that occurs each  
24 Monday morning -- that's listed before that -- and  
25 that's a weekly progress review for the projects

1 that are soft and need some propping up, and the  
2 programs.

3           Then, of course, there's a weekly risk  
4 management. We put a lot of time and effort into  
5 war-gaming the soft spots, and making certain that  
6 we protect the Government's interest. And then, of  
7 course, we have the procurement meetings. We don't  
8 do the procurement; we often get quoted as doing it,  
9 but we don't do the procurement in the Department  
10 for OBO. That's done by a separate bureau in a  
11 separate entity.

12           Then, of course, we have a "Lessons  
13 Learned" task force. That's an avenue for new ideas  
14 to come forth, and innovations that we can move  
15 forward with. And I think all of you are familiar  
16 with our real tool, and that is the project  
17 performance reviews that occur each month, and then  
18 the rest that are listed there.

19           It's important to revisit process because  
20 we have tried to be a disciplined organization. We  
21 go by a set of rules and protocol. This sort of  
22 lays out how you get an embassy or a consulate, a  
23 new or rehabilitated piece of work. It starts with  
24 a site, if we are looking for new, and then of  
25 course we have to purchase the site wherever it is

1 around the world, and there are certain  
2 Congressionally mandated processes, and I just want  
3 to highlight a couple because this is where the  
4 trip-up starts. Congress requires a certification  
5 on that portion of the design of the facility that  
6 would have anything to do with the protection of  
7 life safety and, obviously, the Government's  
8 interest. We have to certify how that design is put  
9 together, and what it will accomplish.

10           And then, of course, the procurement  
11 process cycles in. The project progresses to a  
12 point where the Project Director -- not me, not Joe  
13 Toussaint, not anyone -- will say in his or her  
14 judgment, professionally, that the project has  
15 reached substantial completion. And there's a lot  
16 of chatter these days about substantial completion,  
17 but that's the definition of that.

18           Then there's an accreditation process,  
19 which is the endgame of the certification part,  
20 where there's another separate team that didn't have  
21 anything to do with the construction, and not a part  
22 of the Project Director's apparatus, that will go  
23 out and render even a second opinion on the works  
24 themselves. And then, of course, the certificate of  
25 occupancy, and finally move in.

1           The confusion is that a substantial  
2 completion represents that now you give me the keys,  
3 and I walk in. That is not the way it works.  
4 Substantial completion is very critical for some  
5 contractual things. It signals that we are ready  
6 for the final inspection, and then, of course, the  
7 issuance of the certificate of occupancy, which is  
8 based on yet another pile of paper and  
9 certifications and the like. And then some time  
10 after all of that's over, the post would move in.

11           So, you need to understand that when we  
12 cite something as being complete, it doesn't mean  
13 that someone moves in the next day. There's a  
14 process that needs to take place, and I don't think  
15 this is unusual for -- if an office building is  
16 complete anywhere here in Washington, it doesn't  
17 mean that you occupy the building the next day.

18           The accreditation process, that was meant  
19 to be a joke because obviously you can't read it, so  
20 just get your first laugh in this morning at a joke.  
21 If you want to know what's on that, we do have that  
22 in a flowchart form. It just talks about the steps  
23 that we would go through. And the whole -- the  
24 serious part of that, we did want you to know that  
25 we did have such a process, and if someone was

1 looking for it and wanted to strain their eyes to  
2 read it, they could do that.

3           Joe Toussaint teased me with this one, so  
4 this shows our MOU on something that we're very  
5 proud of because we are very serious about moving  
6 ahead with environmental and sustainability matters,  
7 and we signed an agreement about a year ago that  
8 says we're going to get into this in a very big way.  
9 And with that, I just want to show you that Bill  
10 Miner and his great team, led by Donna McIntyre  
11 (ph.), they have put together a splendid Green team,  
12 integrating all of the aspects of our organization  
13 because we are getting very, very serious about this  
14 Green business. It's organized, you can see it  
15 there. I just wanted you to know we've advanced  
16 considerably on this front since we got started  
17 seven years ago.

18           And we had some fortunate things to happen.  
19 The Green building council has granted us  
20 certification on one of our difficult facilities,  
21 deep in the Balkans, Bulgaria, and the compound  
22 itself is LEED-certified.

23           Now, moving on over, we'll talk more about  
24 this list, but that's the ride. It's over 50 new  
25 facilities that have been delivered for our people.

1 They're all listed there. Next slide.

2 This shows what it all means as the end of  
3 the day, and that's the number of people, your  
4 colleagues and mine, that have been moved out of  
5 unsafe facilities to safer facilities because there  
6 is no Utopia about safety, but we have done the best  
7 we can to make it safer. And that's the bottom  
8 line: Almost 15,000 -- well, about 15,000 people.

9 We have lots of work left. As you can see,  
10 the 50-plus that we have completed; we have another  
11 34 new embassy compounds, embassy annex-type  
12 arrangements, under construction. You see the  
13 dollar amount associated with that. Quick math gets  
14 you to about 80 that we have either done or are  
15 doing, and I've just told you 50-plus have been  
16 done, and when you add that to another 11 that we  
17 just awarded in FY '07, this gets us to 101, so we  
18 are well over 100 in terms of what we have managed,  
19 or what we are currently managing.

20 Here are the 11 that I made reference to,  
21 and add that to the quick 80 -- I'm sorry. The  
22 quick 90, that gets us to 101, and we are planning  
23 in FY '08 for these facilities to be awarded. These  
24 are in the works now, and we hope to have these  
25 awarded before the end of the fiscal year.



1           Now, we took a pause several months ago,  
2 and sort of reflected on, you know, we've built 50  
3 of these, and we had a little celebration, and a  
4 little time to reflect, and so we discovered that we  
5 had really accomplished a few things. We had begun  
6 to look at an integrated process to help us with the  
7 business side of our work. We reflected and  
8 discovered that we had been pretty good about  
9 protecting all of the things that relate to IT-type  
10 functions, that relates to the FISMA, which you know  
11 is a big deal in this town because of all of the  
12 problems with data and the protection of data. We  
13 also realized that we had done 50 at roughly \$3  
14 billion. We had earned that part score, being very  
15 effective, at 97% or so.

16           And then, of course, you see other  
17 statistics where we have built on 41 separate sites,  
18 over 675 acres. If you look on the next chart,  
19 you'll find that we have worked a lot of man-hours.  
20 That's a pretty hefty number. Only had 77  
21 accidents; one is too many, but when you look at our  
22 lost time rate and compare that to the universal  
23 rate in the United States, you know that is very  
24 good.

25           Over 180 design reviews, fortunate to still

1 have a nice pool of contractors, and getting new  
2 ones all the time, which we are pleased about. A  
3 lot of concrete has been placed, but the most  
4 important thing is at that time, over 14,000, and  
5 we're closer now to 15,000 of our people being taken  
6 out of harm's way.

7           You've seen this before; this is a standard  
8 design, nothing magic. We'll just move ahead. And  
9 the first two projects that we completed are listed  
10 here, Uganda and Doha, and this was the next four.  
11 This was the next six, this was the next four, this  
12 was the next five, this was the next six, this was  
13 the next four, this was the next four, this was the  
14 next four, this was the next three, this was the  
15 next one, this was the next one, this was the next  
16 one, this was the next one, and this one, what I  
17 have going forward now has been done since we last  
18 met.

19           Then, of course, the next one and the next  
20 one, Managua in Nicaragua is done, the USAID piece  
21 as well.

22           Panama City is done, and Rangoon in Burma,  
23 this happened to be the 50th. And I just pause a  
24 minute because I tell this story because it's very  
25 important to me. After going to 50 openings and

1 having the opportunity to participate, I've never  
2 seen a group of people that were as proud as these  
3 people when this new embassy was opened. Usually  
4 there are a lot of cheers and a lot of happy  
5 feelings at these sessions, but there were more  
6 tears and sad faces when this was opened because the  
7 goings are pretty tough in Burma, and we were there  
8 at a time where the restrictions were pretty bad,  
9 and there were demonstrations in the streets as we  
10 were trying to get this opened.

11           So, I think that drove the point home that  
12 we are making a difference in the lives of people,  
13 and it was reflected at this ceremony.

14           So, Algiers is also open, and Accra, Ghana,  
15 USAID is now open -- completed, I should say. I'm  
16 not sure whether they're in or not. And we're  
17 wrapping up the project in Kigali; it'll be open  
18 some time in January.

19           Okay, and that list leads us into the 34  
20 that we have under construction. I'm not going to  
21 read it, but you can see it's valued at about \$3.2  
22 billion. And if you take a look at Port-au-Prince  
23 in Haiti, you can see that all of this is on  
24 schedule to be complete during the first half of the  
25 new year. Berlin, around Easter time. Quito, late

1 fall. Ciudad Juarez should be around Christmas.

2 Khartoum is not good. We're having great  
3 difficulty there with the host country, so this will  
4 probably be our first white elephant because we're  
5 not going to be able to move forward unless the host  
6 country significantly changes its methods and means  
7 of cooperation. We cannot get the kind of materials  
8 that we need to complete the job there, so we are  
9 working through the appropriate activities with our  
10 contractor. Incidentally, the contractor, Harvard  
11 International, has just done a phenomenal job of  
12 hanging in there with us. I can't say enough about  
13 the partnership. It's been absolutely superb. So,  
14 we work together and do what we have to do.

15 Brazzaville, in West Africa, is listed  
16 here. Skopje in Macedonia, in the Balkans, listed  
17 here. Mumbai, in India, is listed here, and  
18 Surabaya, Indonesia, listed here. Libreville, in  
19 Gabon, West Africa, listed here. Johannesburg, in  
20 South Africa, is listed here. And then, of course,  
21 Suva, in Fiji, is just getting out of -- just  
22 getting started. Beijing in China is moving along  
23 now, roughly 80% complete. That's a very  
24 complicated and difficult project for us.

25 Last slide just lets you know there's a

1 tough road ahead. I mentioned Khartoum; we are in  
2 Karachi, we got Addis Ababa in Ethiopia just getting  
3 started. Tripoli is out there; Harare in Zimbabwe  
4 is out there. Jeddah is out there. I could go on  
5 and on. Beirut is out there, et cetera, so it's not  
6 getting any easier for us, but we'll continue to  
7 press ahead with the support we have received,  
8 particularly from this panel, and tackle it because  
9 we knew in the beginning that we were going out of  
10 the places that we could spell, and we would have to  
11 be dealing with this at some point.

12 So, that's my presentation. That's the  
13 opening remarks, and I've given you the update as we  
14 know it. So, are there any questions on any of  
15 that?

16 Okay. Let's launch. We will proceed now  
17 with our first discussion topic, and what we decided  
18 to do this time because of the number of requests,  
19 and also because of the interest displayed during  
20 our interaction, we decided to revisit some of the  
21 subjects that we had some lead-in discussions about  
22 because we didn't want to leave these until we felt  
23 we had all the juice that we could get from them,  
24 and with your support, the champions on our side,  
25 and also from the panel, have been very supportive

1 of this revisitation.

2           So, we're going to begin this morning with  
3 improving air quality, to be led by George Glavis  
4 and David. They've been before us before, on our  
5 side, and they'll be assisted by Darryl Horne, and  
6 so, George, you can lead us through.

7           MR. GLAVIS: Thank you, General, and ladies  
8 and gentlemen. It's a privilege to be able to  
9 expand this subject. The last time, we got into a  
10 little bit more mechanical issues; this should be of  
11 interest to everybody because we're talking about  
12 indoor air quality in a general sense, the broadest  
13 sense. We're talking about the issues where you  
14 spend all your life, and typically homes and autos  
15 are pretty leaky. You get rid of them in five, ten  
16 years. Some of them that you do keep for a while,  
17 you always open the windows or the doors, and do  
18 upgrades. In our Government facilities, another  
19 story. We're in them an awful long time. We design  
20 them to last 50 years, roughly, and of course, the  
21 equipment doesn't last that long, but many of these  
22 monuments have been around and aren't going away,  
23 certainly not in the Federal Government's sense.  
24 And so, we have to do it right.

25           When we start looking at the next slide, it

1 has some standards there. We have a host of  
2 ambiguities, and I say that because when I started  
3 looking at this years ago, we got a handle on indoor  
4 quality in general when people were getting really  
5 frustrated with lighting, for instance, and the  
6 excessive lighting that we had was giving people  
7 reflections off of the glossy paper, and they were  
8 going home with headaches, so we were looking at all  
9 kinds of issues where we hadn't upgrade to meet  
10 modern technology.

11           So, as modern technology in the lighting  
12 industry came forward, we lowered the standards, and  
13 everybody started getting a handle on it, and you  
14 were able to measure it. And there's a key issue  
15 there: You were able to put a standard on, and we  
16 called it foot-candles. It's an intensity that hits  
17 the table so you can read what you're looking at,  
18 and it also gets into contrast, so you're not going  
19 from a real bright sunlight into what would be a  
20 moonlight equivalent, right next to you, and trying  
21 to read that. Your eyes just don't adjust that  
22 fast, and you get a headache.

23           So we got past an awful lot of that.  
24 Indoor air quality took a back seat. We really  
25 never did get a good handle on it, and so when we

1 started looking at standards, the first one that  
2 comes up is the American Society of Heating,  
3 Ventilation, and Air Conditioning, and if you look  
4 at their definition -- I won't bore you with the  
5 words, but it says, "As long as we get it to the  
6 point where 20% of the people aren't happy, that's  
7 good enough."

8           Well, that's not good enough for me, and so  
9 we decided to go way past that, and unfortunately,  
10 that's still in the literature today, and we felt  
11 that in our buildings, we need to get as high to  
12 100% level of quality of life for our people in our  
13 embassies as we can get. If you go to this  
14 standard, you're going to get sub-standard air  
15 conditioning equipment that's not going to work.  
16 You're going to have heating problems and cooling  
17 problems and lack of oxygen and all that sort of  
18 thing. And we went through some of that detail last  
19 time.

20           But the important thing is, we have to get  
21 a good handle on our objectives, and you won't find  
22 it there because they still say, "If it's good  
23 enough for 80% of the people, it's good enough." We  
24 went a lot further.

25           When you started looking at EPA, there's



1 some good lessons to learn there. They were born  
2 during the time of the first energy crisis, and one  
3 of their first buildings they inherited was as a  
4 result of that energy crisis, down on 901 M Street,  
5 where their headquarters was until they were forced  
6 to move out. They were forced to move out because  
7 the first time we got a handle on the cost of gas  
8 going up, we reduced the amount of ventilation  
9 coming in, and what happened was, it was inadequate  
10 from the get go, and it went downhill from there.  
11 So, quite frankly, EPA's new residence is in the  
12 Reagan Building because they had to get out of that  
13 other building where they were.

14           We don't advertise that, but I think in  
15 this forum, we need to know that that was one of the  
16 overriding reasons. Throughout that whole period,  
17 when we started looking at NIST, we would expect  
18 that the National Institute of Standards would have  
19 some standards for indoor air quality. "No, we're  
20 not there." The Occupational Safety and Health  
21 Administration did handle noise; we did get a handle  
22 on industrial noise and that sort of thing, but when  
23 you come right down to it, one of the problems we're  
24 dealing with is it's an intangible, very difficult  
25 to get a handle on, and when you get people like the

1 Legionella issues in Philadelphia many years ago,  
2 they ran into all kinds of "what happened" when you  
3 got into the asbestos issues. "What happened?" So,  
4 you get to the AMA and Bar Association with the  
5 legal issues, and nobody wants to tell you how clean  
6 is clean enough in the buildings.

7           And that's where we are, going past that  
8 dilemma, and establishing standards that will last  
9 as long as possible in a cost-effective manner, so  
10 that you're healthy and productivity continues to go  
11 forward. Otherwise, we have sick buildings, we have  
12 mold growth, we have problems that just ruin our  
13 day, and the cost of tearing down the Court Building  
14 in Florida should be one example of why we don't  
15 want to go there. And so, armed with that, I'm  
16 going to stop and let David tell you how we got  
17 going on safe building for our people.

18           MR. LANGFITT: Okay, thanks, George. One  
19 of the things that -- I'm David Langfitt. I  
20 actually work for George. Thanks for inviting me.

21           One of the -- for those of you who've not  
22 found that you do have a handout, at least at the  
23 table, underneath your pad, so if you happen to want  
24 to take notes, that would be good.

25           One of the items that the General mentioned

1 briefly that comes into play is LEED. You know,  
2 he's signed a memorandum of understanding saying  
3 that we are going to be environmentally responsible.  
4 LEED is a word -- you hear "Green," you hear "LEED"  
5 kind of interchangeably in the media. They are not  
6 really the same thing, though they are trying to  
7 approach the same goal. LEAD stands for Leadership  
8 in Energy and Environmental Design. It is something  
9 that under the General's leadership, we have tried  
10 to implement as a standard piece of the standard  
11 embassy design.

12           Some of the choices here, some of the  
13 things that we are trying to do in the OBO design of  
14 our buildings is the reduction of source pollutants.  
15 We're not really trying to make the cities cleaner;  
16 what we're trying to do is make sure that the air  
17 that is going into our buildings is as clean as we  
18 can make it. There are two different ways of doing  
19 that. One, we've raised the outside handler --  
20 we've raised the source of our ventilation air, the  
21 outside air to the building, to the roof. We tried  
22 to get it away from the traffic issues, from the  
23 pollution issues created by traffic and pedestrians.  
24 We've also, through responsible purchasing, we're  
25 trying make sure that the carpets that go in, the

1 furniture that goes in, has as low of emissions as  
2 possible. If you go in -- you know, you paint your  
3 house, you know your house smells bad for several  
4 days. You install carpet, you know it smells like  
5 carpet glue for several days. So, we're trying to  
6 make sure that we pick an appropriate item that  
7 minimizes the health issues that could occur.

8           We've included pressurization in our  
9 buildings, trying to control our own destiny. This  
10 way, we know where the air is coming from. We're  
11 forcing it to come from our outside air handler on  
12 the roof instead of letting it just show up wherever  
13 it shows up. We also, through this outside air  
14 handling unit, we provide filtration, both  
15 particles, and we take out some of the gaseous  
16 issues that occur, you know, the diesel fumes and  
17 the like. So, we have carbon filtration and our  
18 outside air handling unit to make sure that the air  
19 going to each floor for your ventilation purposes is  
20 as clean as we can make it.

21           Throughout the building, we've included  
22 enhanced filtration. The filtration that we include  
23 in our buildings is extremely good. The HEPA  
24 filtration, it's just a level of filtration, HEPA,  
25 but that -- the HEPA filtration that we include in

1 our buildings catches pretty much everything. We're  
2 catching everything down to mini-viruses, so  
3 bacteria are being caught. Particles coming up off  
4 the carpet are being caught. If you have any spores  
5 that may be in the air, if they get to the air  
6 handler, they are caught, and so the minimum  
7 filtration that's available is 99.97. That's what  
8 we advertise. That means that only three particles  
9 out of every 10,000 that make it to the air handler  
10 make it through the air handler to get back into the  
11 airstream and available to you. So, we are doing  
12 what we can to make sure that your air is as clean  
13 and as healthy as possible.

14           Environmental control, the design that  
15 George has implemented, pretty much makes each floor  
16 an air capsule of its own. This is one of the  
17 questions that Marvin Oey had asked us, so I'll use  
18 his name here. It does -- in order to make a  
19 satisfactory air system like we have, the building  
20 has to be extremely tight. That means that you  
21 don't have air moving between areas that you don't  
22 want it to move between. You don't want it come in  
23 from outside without you knowing where it's coming  
24 in; you don't want it to go across the wall without  
25 you knowing that. So, our building, by design, for

1 other issues, is extremely tight. So, what we have  
2 done is, we've leveraged that tight building, the no  
3 air movement going some places we don't want, we've  
4 leveraged that to be able to make our building  
5 extremely environmentally friendly, and it's  
6 improved our security from a life/safety point of  
7 view.

8           If you talk about source pollutants, this  
9 is the one that I mentioned earlier. You're talking  
10 about minimizing additional chemicals, volatile  
11 organic compounds; sometimes you see it as VOCs.  
12 Some of these -- many of these words, actually, show  
13 up in the media on a regular basis, so you've  
14 probably heard them. You may not know what they  
15 are; hopefully, this will help you out a little bit.

16           Pressurization. If you go to that, as I  
17 mentioned, one of the things that we've done is,  
18 we've raised the air handlers to the outside of the  
19 building, to the roof of the building. Then, we  
20 have kind of -- we keep each area of the building  
21 that performs a specific type of function, it  
22 maintains a specific air pressure. It's a very low  
23 pressure; you don't even notice it pretty much as  
24 you go through the door. If you have a small crack  
25 in your door, you would be able to feel air moving

1 the direction that these arrows point. So, it's not  
2 like it's a lot of air, but we're just trying to  
3 make sure that air coming into our building goes the  
4 direction we want it to go so that we're able to  
5 control our environment for both health and safety  
6 reasons.

7           The last time we were here, if any of you  
8 came to the last meeting, sitting out front, we had  
9 actual examples of these filters that you have  
10 pictures of here. You have the HEPA filter on top,  
11 which I've already discussed. You had the --  
12 including this enhanced filtration has increased our  
13 initial cost somewhat. We've tried to mitigate that  
14 by having our maintenance requirements go from  
15 changing the filters every three to six months,  
16 which is kind of an industry standard in the United  
17 States, we've worked with the filter manufacturers  
18 and the air handler manufacturers, and we believe  
19 we're getting five years out of our filters. So, we  
20 only change our filters once every five years, as  
21 opposed to once or twice a year.

22           The higher energy costs -- in order to make  
23 our building safe, we do run our equipment 24/7. We  
24 do also include nighttime temperature setback, which  
25 allows us to reduce the amount of air that we're

1 circulating, and there's no way other than the  
2 engineering-ese to do it. If you recall fans, as  
3 you reduce the speed of a fan, if you can take a fan  
4 that's going 100 RPM and reduce it to 50 RPM, the  
5 power required to run that fan goes from 100% to  
6 12%. So, just by going -- even though the fan is  
7 still running, by reducing the speed by half, we've  
8 reduced the energy consumption by 87%. So, that's a  
9 significant number. So, yes, there is a small  
10 penalty to pay for running these 24/7, but there are  
11 some additional benefits from that. We'll talk  
12 about them in a minute. Actually, we'll talk about  
13 them on the next page.

14           If you take a look inside the little red  
15 circles, you may have seen this in a hotel room and  
16 weren't real excited when you saw it. It's mold  
17 growth. One of the things we try to do in our  
18 buildings is maintain them at 23 degrees. This is  
19 the nominal number; we allow it to vary slightly, up  
20 or down a couple of degrees. But 23 degrees C, 50%  
21 humidity, that is a good number to keep mold growth  
22 to a minimum.

23           Doing the setback temperature that I talked  
24 about on the last slide allows the temperature as  
25 you -- when you go home in the afternoon, you don't



1 need to keep the building at a temperature that is  
2 comfortable for you. So, in the summer you let it  
3 get hotter, in the winter you let it get colder, and  
4 then in the morning, you'll warm it back up before  
5 people show up.

6           By keeping our equipment running 24/7 and  
7 maintaining this 50% humidity, give or take a little  
8 bit, you're able to minimize or eliminate mold  
9 growth within the building. If you turn the  
10 equipment off on the weekend, if you're in a humid  
11 climate, you have two days of humid, you know,  
12 potentially 100% humidity or close to that in your  
13 building for two days, so that mold gets a foothold.  
14 You're trying to stay away from that. That's part  
15 of why we do what we do.

16           New technologies. We have chosen to do a  
17 passive approach; it's just filtration. Our air  
18 handlers are bigger than what you have in your  
19 house; our filters are bigger and more extensive  
20 than what you have in your house, but it is the same  
21 idea. It's just really good filters and a big fan.

22           Some of the things that are coming down the  
23 pike, you hear people talking about the UV lights.  
24 They say, "Gee, we can take care of everything with  
25 UV lights. We can kill all the spores, you know,

1 kill bacteria," and some of that has borne out. The  
2 challenge is, you have to continue to do  
3 maintenance. Our filters, once every five years.  
4 UV lights wear out every several months, and they  
5 have a continuous electricity draw. So, we look at  
6 new stuff as it comes out. In many cases, we have  
7 yet to find anything that we feel any more confident  
8 will provide a safe, healthy environment for our  
9 people and what we're doing.

10           You want to talk about any more of these?

11           MR. GLAVIS: Yeah, I'll grab some of this.  
12 I think it's marvelous that this is an opportunity  
13 to compare notes because I have some thoughts, he  
14 has some. When we get into the chemical and  
15 biological sensors, once again, we looked all over  
16 the map, continuing to look all over the map, and  
17 found they are too expensive and they're too  
18 unreliable, and no way can we expect our people  
19 overseas to maintain those things when it takes a  
20 team of well-trained soldiers to keep them running  
21 and recalibrated every six months.

22           We just came back from another briefing on  
23 the Pentagon renovation. They're doing a lot of  
24 work related to sensors. They're doing an awful lot  
25 of things that, in our opinion, are very costly to

1 run, and require an awful lot of, shall we say,  
2 signals in advance to keep you safe. The system  
3 that he described is running all the time. You  
4 don't need the sensors, and it keeps you safe as  
5 long as we do the routine maintenance, as long as we  
6 can provide, shall we say, some checking sensors;  
7 that is, validation sensors that don't need to be  
8 instantaneous, and they don't need to have 100%  
9 reliability in a moment's notice to tell you where  
10 to go. They just need to be able to tell you that  
11 the air conditioning system is running the way that  
12 it's designed to run, and that's a very valid,  
13 important thing so that we can convince our people  
14 that we are taking care of them, that the  
15 maintenance work is being done, and that they're in  
16 a safe, healthy environment.

17           So much for the sensors. They are coming  
18 down to the point where we are now prototyping  
19 something that can we put in together with our HVAC  
20 system and, like I say, they're in the advanced  
21 development where we're getting ready to install  
22 them.

23           With regard to the finishes, we talked  
24 about noise briefly. The modular concept is great;  
25 it does provide noise attenuation. The carpets

1 provide noise attenuation, but as David said, in  
2 some places, if you don't get a handle on cleaning  
3 the air, that stuff is going to settle, it's going  
4 to settle into the furniture, and even -- we have --  
5 the classic was an applied physics lab in Johns  
6 Hopkins where we tested that sort of thing, and we  
7 walked into a room on a Monday morning and we  
8 measured all the nasty stuff coming right up to the  
9 nostril level where you breathe it in, and that's  
10 the sort of thing we just don't want to perpetuate,  
11 and by going through this enhanced filtration that  
12 we have designed, it catches that. If you don't  
13 have the enhanced filtration, yeah, we can save a  
14 few bucks up front, but it's going to come back and  
15 haunt us because we're going to have all of that  
16 nasty stuff in our nostrils and our lungs, and we're  
17 not going to be safe and healthy, as we'd like to  
18 be.

19           With regard to the building automation  
20 systems, we're struggling with this. In the  
21 design/build concept, we give the contractor an  
22 opportunity to build something, and obviously he  
23 wants to make sure that it's not too costly, and so  
24 he gives a price tag, and now we're realizing that  
25 some of those things could have been done a lot

1 easier if we just used the automation system as a  
2 monitoring system, a building management system, so  
3 that we can turn around and make sure that  
4 everything's working right, and if it's designed  
5 properly with a few extra bucks up front, each one  
6 of those spaces has its own controls and doesn't  
7 need a monster, shall we say, smart box in a  
8 building manager's office somewhere far away.

9           And so, we're keeping it simple. We are  
10 getting there, but for a while, we found out that  
11 some of these wires were crossing hard lines, and it  
12 just wasn't working. So, we're focusing on  
13 upgrading the building management system so that it  
14 is a sensor-type, and so that the people back here  
15 at Headquarters can get a signal at the same time  
16 Post 1 gets a signal, if it's a severe problem like  
17 an air conditioning system went down. We don't have  
18 that today, and we need that.

19           The ideal would be, when you look at the  
20 last bullet on computer-controlled access and the  
21 heating controls and the fire alarm controls, we  
22 ought to be able to pull them together. We have a  
23 lot of turf battles -- I just mentioned one with  
24 Ashray (ph.), you have another one with the fire  
25 protection folks, where they don't want you onto

1 their turf, and we have to get past that, and if we  
2 could get past that, you card, then would do the  
3 ICASS (ph.) work -- we call it ICASS, it's  
4 controlling and budgeting and paying for things as  
5 you go, so when you come through the front door,  
6 they know you're coming. You have a clearance, and  
7 as you go into your area, the clock starts ticking  
8 on the energy you're using. The systems start up.  
9 Until you come on in there, they're in the setback  
10 mode. That's where we ought to go, and it's not  
11 that hard. Technology is here. We just have to  
12 overcome, shall we say, some of the human elements  
13 and some of the turf areas, which says, "Don't tread  
14 on me, and this is my turf."

15 GENERAL WILLIAMS: Okay.

16 MR. GLAVIS: And that's it, sir.

17 GENERAL WILLIAMS: Okay. George, David,  
18 thank you. Let me raise a couple of points before  
19 Darryl comes on because I think it's appropriate  
20 that we connect these dots right away. I trust that  
21 our O&M family was listening and attuned because  
22 some of this information, I'm hopeful that it is  
23 getting down to those who plan budgets for O&M  
24 because I heard several approaches that George and  
25 David were talking about that have direct

1 connections to some issues I know that we're dealing  
2 with.

3           Five years life on filters; the real issue  
4 there is, are we seeing this to be a reality, or are  
5 we budgeting and changing filters every year?  
6 That's something for our O&M people to consider.  
7 The 100% down to 12% speed on fans, to help, since  
8 the system has to stay on all the time, it might be  
9 just a small dent on the electrical utility bill,  
10 but every little bit will help.

11           The admission that the BAS system, you find  
12 BASses that are not working as well as you would  
13 like because they were not all designed in a test  
14 tube. You heard him say that part of our  
15 design/build concept is to simply indicate to the  
16 contractor in the specifications and the RFP that  
17 one has to be put in. So, the propensity for the  
18 contractor is driven any number of things, cost, et  
19 cetera. So, this might be a suggestion to the  
20 contracting community that we probably will have to  
21 tighten that up if our O&M and customers can't lash  
22 up a little bit better with us. We can begin to  
23 specify, and when we specify, obviously, as George  
24 pointed out, it's more money up front, and that has  
25 a little contractor implication. And then -- but it

1 would eliminate the little bump that we have going  
2 with our O&M side.

3           So, these are excellent points, and this is  
4 one of the reasons we wanted to revisit.

5           Also, on mold growth, I hope that we are  
6 sensitive to the temperature control, which,  
7 obviously, is an on-site discipline. You have to  
8 ensure that the temperature is where it should be,  
9 and in order to not have mold growth -- because here  
10 of late, we've had a little bump every now and then  
11 about mold, but it takes the whole apparatus to work  
12 together on these things to make certain that we can  
13 get where we need to get.

14           And the other interesting point was the  
15 LEED and the Green side of the house, and I -- there  
16 may be others who might want to chime in on this,  
17 but it was interesting to hear that sometimes we  
18 loosely get these things sort of connected to each  
19 other where they were designed and, in fact, are  
20 different. They are kin, maybe cousins, but they  
21 are not that close.

22           Did I get that right, George?

23           MR. GLAVIS: Yes, sir.

24           GENERAL WILLIAMS: Okay. Are there any  
25 other questions, comments, regarding that subject?



1 (Pause.)

2 GENERAL WILLIAMS: Well, I can assume you  
3 got what I got. Okay. Darryl?

4 MR. HORNE: General Williams, good morning  
5 everyone. I think David and George did a very good  
6 job of describing what we're talking about here in  
7 indoor air quality. Dr. Oey and I were asked to  
8 really focus on the benefits of indoor air quality.

9 Building air quality has emerged as a major  
10 issue involving the health and productivity of its  
11 occupants, and we really focused around -- and I'm  
12 going to hit a few points because I think really,  
13 the integration of our two presentations really  
14 overlap quite a bit. We want to just highlight a  
15 couple of things, and before we really get to the  
16 benefits, we want to talk about some of the burdens  
17 of poor indoor air quality.

18 And I'd like to counter that and basically  
19 say that some of this is perceived, and some of this  
20 is real. People working in building today, and  
21 where we are as a society, globally, we're reacting  
22 to a lot of perceived and real. So, what George and  
23 David are working on are really, really getting at  
24 the rigorous pieces of really making sure that they  
25 understand the facts of the building that they're

1 operating.

2           Approximately 30% of the new and remodeled  
3 buildings worldwide will be subject to excessive  
4 environmental pollutants that cause indoor air  
5 quality problems. So, the burdens of poor indoor  
6 quality -- basically, when you get to it, businesses  
7 are estimating, on an annual basis, about a billion  
8 dollars a year; this is the impact of poor indoor  
9 air quality, about a billion dollars annually.

10           The health risks of poor indoor air  
11 quality: We mentioned the sick building syndrome,  
12 oxygen deficiency disease. I won't go into the  
13 great details of those things, but that's really  
14 what the impact of having a poor health -- poor  
15 indoor air quality.

16           None too less to mention the litigation  
17 risks; I would say that's where the hundred billion  
18 dollars will come from, really focused on all those  
19 effective parties, from the builders to the  
20 developers to the Facility Managers, everybody's  
21 involved in how we get at that deficit.

22           And what I think I really heard George  
23 really talk about this morning, and really it's just  
24 the safety and health compliance. When the  
25 management works to establish an effective indoor

1 air quality program, which is what we described this  
2 morning and what we've heard before, you really get  
3 at the rigorous process needed to really get to the  
4 facts of what we're talking about here, and George  
5 really laid out all of the regulatory compliance  
6 schemes he has to deal with, and there are numerous  
7 of them.

8           So, I'll move into the benefits of the  
9 improved air quality. We're really focused on the  
10 enhanced occupant comfort, health and work  
11 productivity. We're really focused on a competitive  
12 advantage over other employees of other buildings.  
13 The positive effect on the environment, increased  
14 fuel efficiencies when you're running your buildings  
15 effectively, the contribution to the overall  
16 improvement in the quality of life in the  
17 environment.

18           And the last one I mentioned is cost  
19 competitiveness. I'm sure George would tell you  
20 that the cost -- he just mentioned some of that  
21 about the bio side of it -- the initial costs -- but  
22 the initial cost is usually offset by reduced  
23 maintenance in a lot of these facilities.

24           Cost benefits: The occupant health and  
25 comfort is directly associated with operational

1 costs, in terms of increased productivity, decrease  
2 in absenteeism, reduced health care claims, and  
3 minimized remediation. I won't go into all of the  
4 actual studies that have been conducted, but  
5 improved indoor air quality has significant and  
6 measurable financial benefits, and there are a  
7 number of studies that have been taken in this  
8 regard to prove what those percentages are in  
9 reduction of poor indoor air quality.

10 But what highlights that? The mitigation  
11 costs. Depending on the extent of the work  
12 required, and the timelines required, getting into  
13 mitigation versus doing the effective IAQ upfront,  
14 the mitigation costs are astronomically higher than  
15 doing it right upfront.

16 There was some mention of Green buildings  
17 in indoor air quality. I pulled up this recent  
18 study on why -- what are the requirements that  
19 people are buying facilities, what are they looking  
20 for. A recent report indicated that the average  
21 buyer chooses Green for health benefits at somewhat  
22 42%. That's the highest rating. They're looking at  
23 Green facilities for the health benefit which comes  
24 from living and working in a Green facility. That's  
25 compared to economic benefits, which are 17%, or

1 environmental reasons, which are 12%. This  
2 demonstrates that the public does not view cost as  
3 the most important driver.

4 Now, the cost-effective solutions for  
5 addressing indoor air quality pollution, I think  
6 David really -- and I won't -- David pretty much did  
7 this part of our presentation this morning. Really  
8 getting at achieving better indoor air quality  
9 during design and construction. The capital  
10 selection of building materials, minimizing the need  
11 for surface coatings or other finished surfaces,  
12 selecting low-emitting building materials, so forth  
13 and so on. When you get into the LEED requirements,  
14 you get into those. And the proper operation,  
15 ventilization, and preventive maintenance.

16 And I'll end with this one, it's collecting  
17 air quality during commissioning and occupancy,  
18 really establishing a benchmark for where are you  
19 when you open the building, versus where you are  
20 from an operation standpoint going down the road.  
21 Getting some measure of where you are, going in.

22 Like I said, David got to most of these. I  
23 would like to end with, though, the energy  
24 improvements and environmental responsibility. I  
25 started with, the building air quality has emerged

1 as a major issue, primarily around this notion of  
2 corporate social responsibility, and what building  
3 owners are really faced with today as they think  
4 about what they're investing in going forward.

5           We've got an energy efficiency building  
6 requirements under the Energy Policy Act of 2005,  
7 and it really goes into some of the tradeoffs, but  
8 the principles are basically this: The energy  
9 consumption and minimization is a requirement. A  
10 design and construction team must keep in mind that  
11 a building must serve its primary purpose of serving  
12 occupancy, serving the occupying organizations  
13 effectively, and all tradeoffs must be decided  
14 against that principle. That's really what we're  
15 focused on.

16           So, there are lots of requirements, a lot  
17 of compliance/regulatory things that George is  
18 dealing with, but there are tradeoffs, and I think  
19 for the most part they really hit how they're  
20 working from an IAQ standpoint, to get the  
21 management really engaged in all of the issues  
22 they're dealing with. So, with that, I'll close.  
23 Thank you.

24           GENERAL WILLIAMS: Okay. Thanks to the  
25 team. Are there questions or comments concerning

1 this very important subject that we happen to be  
2 talking about this morning, indoor air quality?  
3 So -- yes?

4 MR. FLEMMING: I didn't hear anybody talk  
5 about the construction-related issues that have to  
6 be dealt with to keep the building --

7 GENERAL WILLIAMS: Right.

8 MR. FLEMMING: -- from having mold issues,  
9 and I don't know if you have standards of desiccant  
10 driers to dry out concrete-framed buildings. If you  
11 move into standards of mold-resistant gyp board, if  
12 you have standards on a particulate count before you  
13 close up walls, things of that nature because my  
14 experience would say that if you don't develop those  
15 standards fairly quickly, you're just masking the  
16 problems and adding cost to the HVAC system to pull  
17 out problems that can be dealt with in construction.

18 So, I was curious if you guys could talk a  
19 little bit about what you're doing there, if  
20 anything.

21 GENERAL WILLIAMS: George?

22 MR. GLAVIS: Good question, crummy answer.  
23 We're not there. We probably should be out there  
24 monitoring a lot of the indoor air quality issues.  
25 We do know, of course, that as we get into the

1 volatile organic compounds and the painting, as we  
2 get into the drying of the concrete, there's  
3 tremendous opportunity to such things if we started  
4 sealing the buildings up right away. A lot of this  
5 is climate-driven; we're building these buildings,  
6 thank goodness, in a lot shorter time, so hopefully  
7 we're doing this work a lot faster than a lot of  
8 industries do, or certainly a lot faster than we  
9 used to do, where there was a tremendous amount of  
10 dead time before we got our systems running, and  
11 therein lies a tremendous problem in the past.

12           The accelerated pace of getting these  
13 buildings done, I think, is in our favor. I don't  
14 have any measurement devices out there; we don't  
15 have that kind of, shall we say, control. It's a  
16 valid question, and we ought to look at it.

17           GENERAL WILLIAMS: Thank you. Yes, Suman?

18           MS. SORG: I just have a question on  
19 interior finishes. You know, standardization and,  
20 you know, specifications that are provided to the  
21 design builder are very good and useful in getting,  
22 you know, apples and apples, but you know, for  
23 example, just in the carpet, tile, that's a  
24 requirement all over the world, whereas in some  
25 areas, terrazzo is actually cheaper and easier to



1 maintain, and you know, it's sort of the norm in  
2 that part of the world, and yet I think there's  
3 maybe some room to provide some kind of a leeway in  
4 the organization so that these kinds of special  
5 materials that are germane to that area can be  
6 provided.

7           But we run into a lot of hurdles in that,  
8 one, the builder, he hasn't priced that, so in the  
9 short time that we have to think about it, he's not  
10 going to -- he's resistant to changing it. When you  
11 go to the reviewer, it's also a little bit of a  
12 struggle to get, you know, to go away from what was  
13 in the specs, and they're used to seeing. But there  
14 could really be -- on this, just one thing, the  
15 carpet. I mean, the whole building could really  
16 have a lot more room for providing indigenous  
17 materials that are less mold -- that are more mold-  
18 resistant.

19           GENERAL WILLIAMS: Um-hmm.

20           MS. SORG: Especially in tropical areas.

21           GENERAL WILLIAMS: I appreciate your  
22 comment because one of the lessons that we're  
23 learning from a major piece of construction we did  
24 in a very difficult climate very quickly is a lot  
25 about the interiors, and that staff now is in Bill

1 Miner's shop, so we'll be able to take some of those  
2 observations. A lot about carpet, right on target,  
3 and in fact, a lot of good information there. So  
4 we're just beginning to look at this, so it's an  
5 excellent point.

6           Genevieve Humphrey has already gathered a  
7 tremendous amount of information. I have her  
8 report, and it speaks directly to that issue.

9           Are there -- yes?

10           MR. KNOOP: First of all, I'd just  
11 compliment the presenters on an excellent  
12 presentation, and I'd like to point out some of the  
13 strengths and important issues that they've brought  
14 up.

15           First of all, the presentation talked about  
16 a holistic approach, and we weren't hearing just  
17 about how you clean the air, but the materials you  
18 put to make the air cleaning easier, and I think --  
19 and actually, I really enjoyed the point brought up  
20 by my colleague here about the construction process  
21 because that's the next battle to fight to make this  
22 program even better.

23           We talked about issues about making it  
24 healthier for people, but we really should go back  
25 to your first mission statement, is that we're

1 trying to make people safer. They're out there at  
2 harm's risk; they're not on vacation. These are  
3 hard jobs, stressful jobs. Creating better  
4 environments, healthy environments, for this  
5 sanctuary, which is their office environment, is  
6 extremely important so that they can be more  
7 effective in seeing to our interests worldwide, as a  
8 world player, the United States of America.

9           Indoor air quality gets into chem/bio  
10 issues, and again, safer -- we're creating safer  
11 environments for those people. So, I think this is  
12 a very important point. We're also -- as OBO  
13 becomes an industry leader in promoting change for  
14 the long run.

15           I would also like to support a point that  
16 you brought up. You talked about running systems  
17 24/7, and I worked on several Federal facilities  
18 myself, and two courthouses, one in Philadelphia and  
19 one in Alexandria. Both suffered from mold and  
20 deterioration of millwork; we had to replace a  
21 tremendous amount of millwork in these facilities  
22 due to systems that were not running seven days a  
23 week.

24           You talk about ecological concerns; think  
25 about the waste of throwing away all that millwork

1 that we cut down from trees only after ten years of  
2 life. It's -- not only is -- there is a true  
3 financial benefit, there is a true human element to  
4 that, the human safety. There are lots of examples  
5 of how important that is, and this is our money  
6 going out there. We should be spending it on the  
7 excellence of the people who are out there doing  
8 their job, not repairing a facility for the second  
9 time over a not well-thought out energy savings,  
10 which I can't tell you how important that element  
11 is.

12           And we're seeing that again and again; I  
13 hear reports from GSA personnel saying, "Yeah, we  
14 saw that also in Kansas" or wherever, so I would  
15 like to also say that that's a very important point,  
16 and there's a tremendous savings opportunity there,  
17 and a tremendous improvement opportunity there.

18           GENERAL WILLIAMS: Thank you, Greg. Are  
19 there any other questions or comments about the  
20 presentation? I would just like to pick up and sort  
21 of summarize on two points. Greg mentioned change;  
22 obviously, all of these can be topics of themselves.  
23 We have talked a little bit about it, but obviously,  
24 we cannot get to this second curve without imposing  
25 change. So, yes, they are imbedded, and all of this

1 from the strategic and corporate standpoint will be  
2 changed, and that's what the team has been put  
3 together to look at because it's going to be moving  
4 a little cheese, and stepping a little toe here and  
5 there in order to get where we need to get because  
6 it's going to be a different way we do business, and  
7 it will have cross-cutting implications.

8           The other operative two words, the holistic  
9 approach. We try to do this on all of the new  
10 approaches that we take. If you notice, when we  
11 start tackling the whole issue of air handlers,  
12 chillers, and the like that we were talking about  
13 last time. We tried to take a holistic approach, so  
14 this indoor air quality issue will not just be site-  
15 specific. When we really make the turn, we are  
16 going to try to tackle it holistically. And I think  
17 Darryl pointed out some good points relative to  
18 health because that's really the bottom line when it  
19 gets down to air quality, indoor air quality, and  
20 people that we serve become quite concerned about  
21 that.

22           Now, that leads me into something else, and  
23 this is just a question I'll throw out. If  
24 somebody's ready now to deal with it, okay; if not,  
25 it can be something that we can pick up maybe later

1 today. Who do you see taking the lead on the indoor  
2 air quality? This may -- is it industry? Is the  
3 thinking in industry, or is in non-profits? Who's  
4 out there bringing the best ideas to the table?

5 MR. KNOOP: I think industry will bring the  
6 solutions to the table, but it's the customer who  
7 must demand the change. And so you, as OBO, as the  
8 customer requiring a certain performance standard,  
9 will drive -- because you have the money. You're  
10 the one spending the money, and you have a program,  
11 as you illustrated earlier today, that has had  
12 tremendous growth, that's outputting a lot of  
13 buildings, and that's a lot of dollars being spent  
14 in industry. If industry -- if you put the  
15 requirement out there as a customer, I think that  
16 the industry will respond.

17 And I think I pointed to this example last  
18 time I was here, Kaiser Permanente has a big  
19 building program, three billion dollars a year, and  
20 they require change in their carpet purchasing.  
21 Wanted a zero-vinyl carpet for medical facilities.  
22 It was not an easy product to meet, or make. They  
23 challenged the industry to go out there and meet  
24 that standard, and had basically a bid-off, and  
25 industry responded with a zero-vinyl product made by

1 Collins & Aikman, and they became part of their  
2 standard purchasing.

3           So when the customer goes out there, one  
4 especially as influential as OBO, as the Federal  
5 Government overall, first of all, it gains  
6 attention. Second of all, it shows longevity as  
7 well because of the power of this program, and  
8 thirdly, it will -- it promotes the change. So OBO  
9 shows the leadership, and the creative response  
10 should come from industry. That would be my  
11 summary.

12           GENERAL WILLIAMS: Thank you. Yes, Joe?

13           MR. TOUSSAINT: Can I put another twist on  
14 this?

15           GENERAL WILLIAMS: Sure.

16           MR. TOUSSAINT: I found Bill's comment  
17 about the construction phase particularly  
18 intriguing, and something that we really haven't  
19 addressed. It's just around the corner. Where  
20 would be the leaders in that? Because now we're  
21 talking process. I'm seeing a lot of this as  
22 process, which, when you look at what we're doing,  
23 we're doing it halfway around the world, remote  
24 locations, US contractors, short time periods, local  
25 labor forces, and we're asking them to behave in a

1 different way. And that's going to translate into  
2 cost, but it's also going to translate into a  
3 learning. I mean, we did this, we went through this  
4 years ago with safety, and we've turned the corner  
5 on that, but I see this as the next corner to turn,  
6 and where do we look for leaders in this, whether  
7 they're owners or companies or what?

8 MR. FLEMMING: I'll try to answer; I'm not  
9 exactly sure, but I would look to commission people  
10 like the AGC or CII to do a study on things like  
11 that. The examples I gave you, which -- drying out  
12 a building, were examples were personal experiences  
13 I had because as we make the buildings tighter,  
14 which you guys are striving for, you're trapping a  
15 lot more inside the building, and concrete-framed  
16 buildings are a big problem when you make them  
17 tight. You can't get the moisture out of the  
18 building quick enough.

19 We just had to do trial and error to find  
20 out how to dry a building out faster, which, you  
21 mentioned, you want to do your buildings faster. We  
22 were doing a laboratory building for a university,  
23 had to do it in 18 months. We had to dry the  
24 concrete out fairly quickly because you can run into  
25 big mold issues. So, we had to develop those



1 ourselves. We didn't find an industry anywhere that  
2 somebody had written a paper or developed any of  
3 those standards, and I think it would be incumbent  
4 on all of us to try to go to some of the industry  
5 associations and try to get them to participate in  
6 that. And CII, or perhaps AGC, might be the best to  
7 start with.

8 GENERAL WILLIAMS: Um-hmm. Thank you.

9 MR. GLAVIS: May I interject, sir?

10 GENERAL WILLIAMS: Um-hmm.

11 MR. GLAVIS: It's marvelous that you asked  
12 that question, and one of the things we have going  
13 for us is that we have instituted is the  
14 construction filters, and getting the air  
15 conditioning systems turned up early because quite  
16 frankly there are certain parts of our building that  
17 we have to, shall we say, energize while the rest of  
18 it is still being constructed.

19 And having this, shall we say,  
20 infrastructure in place for that part of the  
21 building that has to be energized, allows us to  
22 utilize that same capability for the rest of the  
23 building. This is totally different than a normal  
24 construction process, and yes, we do have the  
25 concrete, shall we say, encasements and

1 encapsulation, but the nice part about our design  
2 is, we are constantly drying that out from the day  
3 we start our systems, and that might help solve some  
4 of our problems. Thank you.

5 GENERAL WILLIAMS: Um-hmm. Yes, Suman?

6 MS. SORG: Just to Joe's question, MIT is  
7 doing a lot of work in this area. I mean, they have  
8 a bunch of projects going on in terms of building  
9 materials and the effect of building materials on  
10 health. I don't know if you want to look at that,  
11 their website's --

12 GENERAL WILLIAMS: Um-hmm. Well, if you've  
13 got a lead or a link, let the staff know, and we'll  
14 follow up.

15 Well, listen, this has been a wonderful  
16 discussion, as, I must say, all of our topics end up  
17 being, and we could spend more time, obviously  
18 because this has such linkage to the human side that  
19 I think one of the panel members mentioned, and it  
20 won't be a hard sell. We have to get it right, and  
21 we have to hit that second curve because it's going  
22 to be a left turn for some, but with the assistance  
23 of AGC and our participating associations and the  
24 like, if we could all turn at the same time, so it  
25 might be some utility to have some industry leader

1 study. So it'll make it quite easy for us to get  
2 there when we put the requirement there.

3           So, we'll talk with our AGC friends, and I  
4 know they're represented here today, and we'll be  
5 able to see where we can go. You know, as these  
6 ideas come about, we don't leave them, so you know  
7 you're going to hear about this again as we move  
8 forward.

9           Okay, with that, let's move to the next --  
10 thank you, George. Thank you, Darryl and David.  
11 We'll move now the next subject, which is, again,  
12 one that we sometimes shy away from because -- just  
13 because it's natural to not discuss staffing and the  
14 quality of staffing and everything like that. We  
15 all like to say we have the best and brightest, and  
16 we have plenty of those, but we know that there are  
17 some things happening in the workforce. I remember  
18 when I was in Kenya about five years ago, there was  
19 a magazine that wanted to interview me, and they  
20 didn't want to talk about the building that we had  
21 built in Kenya. They wanted to talk about the  
22 dwindling in the workforce. Obviously, they have a  
23 major problem with talent there, but was wondering  
24 whether or not this had any similar parallels in the  
25 United States.

1           So, we have taken on -- this is kind of a  
2 revisit, we did this about a year ago, a year and a  
3 half ago, the challenges that we face, particularly  
4 in the Government, and more specifically in the  
5 State Department, to get the kind of quality people  
6 we need because I think many of you have heard me  
7 say this over and over. I don't think it's in the  
8 numbers; I think skill sets. And if we can't re-  
9 cultivate -- I was talking with someone about the  
10 maintenance staff -- if you can't re-cultivate what  
11 we have, then we have to find another skill set,  
12 regardless of how painful it is. Otherwise, we  
13 won't be able to continue to do what we need to do.

14           So, I turn this over to our champions,  
15 Jonathan and Carmen and then, of course, Regan and  
16 Bill's going to speak to it as well from an industry  
17 perspective.

18           MR. BLYTH: Thank you, General. I really  
19 appreciate the opportunity to revisit an issue which  
20 I know is of a deep importance to you. I know it  
21 seems kind of strange having the Chief of Staff also  
22 work in Human Resources, but I think it really  
23 crosswalks with the importance of this issues,  
24 especially because an organization rises and falls  
25 on the people that work there.

1           As many of you know, according to the  
2 Bureau of Labor Statistics, 50% of the Federal  
3 Government and 70% of the Federal Senior Managers  
4 will be eligible to retire within the next two  
5 years. The Office of Personnel Management estimates  
6 that the peak of the Federal Retirement wave will  
7 occur starting in 2008 through 2010, and as we are  
8 all aware, 2008 is right upon us.

9           In addition, in the next ten years, 60% of  
10 the general service and 90% of the Senior Executive  
11 Service will be eligible to retire. The next  
12 generation of workers that are following the people  
13 who have led this country over the last 40 years are  
14 smaller, and have less of the engineering skills  
15 that we here at OBO depend so much upon. There will  
16 be intense competition with regards to the public,  
17 the private, and the non-profit sectors for the  
18 future of the American workforce.

19           As many of you know, here at the State  
20 Department and all Federal service, there are  
21 numerous rules and regulations that stretch from  
22 veterans' preference, all the way down to the way we  
23 actually operate in creating certs and applying for  
24 positions, as well as the fact that individuals who  
25 apply and are accepted into positions here at the

1 Department of State all must go through diplomatic  
2 security.

3 I'll give you two examples. One, at this  
4 moment in time, we have at the Department and at  
5 OBO, at the Department of State, we have 23, about  
6 23 people in security clearance, of which almost  
7 half of them have reached over 150 days in security,  
8 some of them exceeding over 200, and some even over  
9 300 days.

10 In addition, the last time I spoke, I was  
11 in deep search for a new Human Resources Director at  
12 OBO. The key person who runs the division. Even  
13 fast-tracking that, following the rules and the  
14 regulations established by Title V, as well as the  
15 Department of State, it took me eight months to  
16 bring in a qualified Federal employee from another  
17 agency to become our Director of Human Resources.

18 In February, we looked at OBO holistically  
19 and determined that OBO was facing the same major  
20 challenges that most Federal agencies. Further, OBO  
21 is facing these challenges after going from building  
22 one embassy per year in 2001, to this year opening  
23 16, basically accomplishing this task with the same  
24 number of staff that we had in 2001.

25 I know this is of importance to you, sir,

1 and that's we had a meeting yesterday with the  
2 Principal Deputy Assistant Secretary and the head of  
3 HRCSP basically to talk about where we've gone over  
4 the last several months, and where we see we can  
5 improve in working with the Human Resources.

6           This chart, above here, which I showed you  
7 in February, outlines the problem. GS-11s through  
8 13s, which we consider here, are middle management,  
9 and GS-14s through 15, which we consider upper  
10 management, shows that 52% are over the age of 50 at  
11 OBO, and 27% are over the age of 60 in the middle  
12 management. And in upper management, 69% are over  
13 50, and 26% are over 60. Now, I will remind  
14 everybody that retirement is a personal decision  
15 that is based on a variety of different factors, so  
16 that when we extract information, we cannot really  
17 speak definitely about whether an individual will  
18 retire at a certain period of time in their career,  
19 but we can basically get an understanding and look  
20 at the overall numbers to look at the trend that an  
21 agency or a bureau is facing.

22           Since we last met -- next slide -- since we  
23 last met in February to discuss this topic, 100 new  
24 employees have joined OBO, of which 40 of them are  
25 civil service employees, and 60 are PSCs. PSC

1 stands for a Personal Service Contractor; it is a  
2 unique thing that is provided to us in the law at  
3 OBO that allows us to bring on individuals who work  
4 on yearly contracts, to work by and large with the  
5 civil service to accomplish our projects. And I  
6 will note that in walking through the building,  
7 there is no distinction between a PSC and a civil  
8 servant; we don't know the difference in most cases,  
9 but the fact is that they make up a great majority  
10 of our staff.

11           However, though this is a good number that  
12 we had 100 join us over the last several months, we  
13 go to the next slide, it shows that we had over 80  
14 individuals that departed OBO, 30 in the civil  
15 service and 50 PSC, for an overall gain of 20  
16 employees, which overall is good.

17           But now, if you look at the next slide,  
18 where you see the breakdown of the 40 civil service  
19 who have joined us over the last several months. We  
20 see that 28 have less than five years, 6 with less  
21 than five to ten years, and clearly, this is a good  
22 result because we figure that most people will serve  
23 in a Federal service for at least 20 years or  
24 longer.

25           What have we done over the last several



1 months since we last met? Well, as I mentioned  
2 before, we hired a new Human Resources Director, and  
3 basically, under her guidance, we have also  
4 increased the staff in our HR department to over 10  
5 individuals. But going back and looking over the  
6 notes from last meeting, one of the things that I'm  
7 pleased that we were able to do, and it was brought  
8 up by our IPM member, Mr. Wallace, was that we were  
9 able to hire a staffer dedicated to doing  
10 recruitment. I concluded several months ago, when I  
11 first asked to do this role, that we needed someone  
12 specifically who would go out for OBO and find the  
13 next talent for our Bureau. And what we've been  
14 able to do is hire Joe Campbell, and Joe Campbell  
15 has now traveled almost throughout the country, met  
16 with university professors, met with students, met  
17 with businesses, and has tried to find our next  
18 talent.

19           The other issue that I've asked Joe to do  
20 is start to look at OBO not holistically, but look  
21 at it into it small, compact units. One of the  
22 first things that I asked him to do was, do a study  
23 on Facility Managers. General, as you are aware, we  
24 have 55 capital projects completed, under contract.  
25 We have 36, if I remember, that we are working on,

1 and clearly what we are going to have in the very  
2 near future is over 100 new technically advanced  
3 structures. As it has been told to me, the days of  
4 the wrench are being replaced by the days of the  
5 computer, and an investment of several billion  
6 dollars by the American taxpayers needs to be  
7 insured.

8           And the Facility Manager, who -- we have at  
9 OBO 168 of them, is the person on the ground, day-  
10 to-day, maintaining the properties within the U.S.  
11 standards of safe operating condition, and directing  
12 the maintenance and repair of the real property  
13 assets. I began to be concerned about our facility  
14 management staff several months ago, so I asked Joe  
15 Campbell, our recruiter, to look at Facility  
16 Managers, to provide a report, which we have here in  
17 draft, which he is going to be talking about, to  
18 provide a read on where we are, what we can do to  
19 recruit future Facility Managers, and able to ensure  
20 that we make sure that our buildings are maintained  
21 for the 50-year length that we are building them to  
22 survive.

23           This information comes from this white  
24 paper; that will be presented to you in the next few  
25 weeks once we get it all completed, and I'm going to

1 ask Joe Campbell to now talk about some of the  
2 preliminary things that he has found.

3 MR. CAMPBELL: Good morning. Thanks for  
4 having me.

5 GENERAL WILLIAMS: Good morning, Joe.

6 MR. CAMPBELL: Good morning. One of the  
7 most recent questions that has come to light because  
8 the Facility Managers play such an important role in  
9 operations and maintenances of our embassies -- OBO  
10 FAC had recently prepared a report outlining the  
11 difficulties that they had recruiting for the  
12 Facility Manager positions. In addition to that  
13 recent document, OBO FAC stated that because FMS  
14 need certain experience and education, these  
15 individuals tend to be second-career employees, and  
16 because of this, they retire sooner, leading to a  
17 larger-than-normal attrition rate.

18 If you'll go to the next slide. What I did  
19 was a breakdown of Facility Managers and the gender  
20 statistics. If we could go back one, please, sorry.

21 We have a total of 168 Facility Managers  
22 with us. Of that 168, we have 166 males; only two  
23 are females. The Facility Managers, we also wanted  
24 to look at the length of service, along with the  
25 military status, if they were prior veterans. Out

1 of that 168, 81 were veterans, 87 were not. With  
2 the age statistic, we looked at the length of  
3 service along with the current ages. So, from 30 to  
4 39 years, there were six. From 40 to 49 years,  
5 there were 61, and from 50 to 59, there were 75,  
6 along with 60-plus years, there were 26 individuals.

7           The Federal length of service versus the  
8 ages, we also looked at their current status of the  
9 length of their total Federal service. Out of those  
10 individuals zero to ten, there were 84 individuals.  
11 11 to 20, there were 56; and 21 to 30, there were  
12 18. From 31 to 42 years of service, there were 10.

13           At the ages of between 30 and 39 years of  
14 age, we also looked versus the length of service.  
15 From zero to ten, we had six individuals, and from  
16 11 to 20 on up to 31 to 42, there weren't any.

17           From 40 to 49 years of age, we looked at --  
18 from zero to ten, there were 36 individuals serving  
19 with us, and from 11 to 20 there were 20, and 21 to  
20 30 there were 5, and from 31 to 42 years of age  
21 there were zero.

22           From the ages of 50 to 59 years of age, we  
23 had zero to ten, I think there were 25 individuals.  
24 From 11 to 20, there were approximately 33; and from  
25 21 to 30, there were 10. 31 to 42 years of service

1 at that age group, there were five individuals.

2           When we went over to the 60 and above years  
3 of age, where it really gets tricky here, we had 11  
4 individuals at zero to ten years of service. At 11  
5 to 20, we had eight, and from 21 to 30, there were  
6 three individuals, and from 31 to 42 there were  
7 four.

8           So, based upon those statistics, we're  
9 really in a position as far as recruitment, we may  
10 be for the long term for all the new facilities that  
11 are being brought up, we understand that we may be  
12 in a tough position to recruit for those  
13 individuals. Jonathan and I had prepared this  
14 document for the sole purpose of ensuring that we  
15 could recruit and find these individuals because  
16 most of them have, again, a second career, they're  
17 second-career employees, as well as this is a  
18 difficult position to fill because of their  
19 backgrounds.

20           One of the things that I recommended was  
21 the use of the Facility Managers, or subject matter  
22 experts, for active recruitment to engage in face-  
23 to-face recruiting. We also could target military  
24 personnel that have facility management experience  
25 and time abroad, advertise through military

1 transition centers. We've really been successful  
2 using the Navy Seabees as one of the great sources  
3 for Facility Managers.

4 OBO recruitment to attend the international  
5 facility management association, IFMA, and again,  
6 possibly using the WAEs to start a training program  
7 within the Department of State for the new Facility  
8 Managers. We would also look to promote the  
9 startup -- a Facility Manager's course through local  
10 universities with the help from SFI.

11 We currently target over 58 universities  
12 and colleges throughout the country. Again, it's  
13 difficult to recruit, to actually go to a university  
14 and recruit for a Facility Manager, mainly because  
15 of the experience that's required for a Facility  
16 Manager. And again, we must promote the overseas  
17 building operations as one of the premier  
18 workplaces, and we also must continue to generate  
19 the awareness of OBO and our role abroad, that it  
20 provides safe, secure, and functional facilities for  
21 the thousands of men and women who represent the  
22 United States and the promotion of diplomacy. And  
23 it's saying that from this report, it's just -- it  
24 was really -- I guess you could say a stressful  
25 report, gathering information through FAC -- I met

1 with FAC, I met with several individuals that led up  
2 to this report, and Jonathan, again, really helped  
3 with that process. I'll give it back to you at this  
4 time.

5 MR. BLYTH: Well, sir, I think that you  
6 would find that those numbers are interesting, and  
7 my feeling is that until you actually know what the  
8 problem is, you can't find a solution, and clearly  
9 with Facility Managers being so important for the  
10 maintenance and operation of our facilities, we now  
11 have a course that we can take a path forward in  
12 trying to locate the future Facility Managers.  
13 What we clearly see in those numbers is that we have  
14 a ever-increasing age of our Facility Managers, and  
15 we basically do not have younger Facility Managers  
16 who -- and with the fact that our buildings are so  
17 more technologically advanced, we need individuals  
18 who have advanced skills to run these buildings.  
19 And so, what we are going to do is now take this  
20 white paper, and we are going to begin to move  
21 forward, and through our recruitment efforts OBO is,  
22 work with the managers, in fact, to make sure that  
23 we do have a strong workforce in our facilities  
24 department. And so our Facility Managers are the  
25 best that they can be to maintain these buildings.

1           GENERAL WILLIAMS: Okay, thank you. Thank  
2 you both. Before we hear from Regan and Bill, just  
3 a couple of questions I would have. I know I've not  
4 seen the final report, and you, the panel and the  
5 public, are hearing this even before I have an  
6 opportunity to digest it, but we might as well begin  
7 to deal with a couple of the issues that I saw  
8 highlighted here.

9           We're not going to get there unless we can  
10 ladder and bring new people in. There's no way to  
11 have a requirement written in a job description that  
12 clearly cuts out of the emerging part of the  
13 available workforce because part of our problem  
14 might be that we have the requirements that -- where  
15 it automatically leads you to someone that has 20  
16 years of experience. So, that might be a start  
17 point.

18           I just believe that we have to find a way  
19 to bring the juniors in and get them in the system,  
20 and find a space for them in this business, and then  
21 have the seniors, which would be that bubble you  
22 have there, to coach them and bring them on board  
23 because you get practical experience by having the  
24 opportunity. You become a Major and Lieutenant  
25 Colonel by having been a Lieutenant, but you got to



1 be a Lieutenant first and learn how to do that.

2           So, I think we're just going to have to  
3 look very hard and find a way to bring in young,  
4 bright people. Now, I don't know how anybody else  
5 feels about that, but that's just sort of my first  
6 take on it because looking at the chart shows that  
7 we've kind of got a problem. We've got a gender  
8 problem; two women, or something of that nature,  
9 that's unsat. We've got to figure out some other  
10 way; there must be more than two women interested in  
11 being a facilities manager and can travel overseas  
12 in spite of how much difficulty we want to suggest  
13 that Ouagadougou would be. You may find a person  
14 interested in going over, okay?

15           Okay. Just -- that's not for the panel;  
16 that's for the staff. Okay.

17           (Laughter.)

18           GENERAL WILLIAMS: Any questions, or --  
19 yes, Bill?

20           He wants you to a mic, Bill.

21           MR. MINER: As an old male Government  
22 employee, you can see I'd make an ideal Facility  
23 Manager --

24           (Laughter.)

25           GENERAL WILLIAMS: Look into it, Bill, when

1 you finish your tour here --

2 (Laughter.)

3 MR. MINER: But one thing that I mentioned  
4 to the team as we met was, as we shift gears from  
5 building production to operation and maintenance,  
6 there could be, should be opportunities for our  
7 planning, design, and construction staff --

8 GENERAL WILLIAMS: Sure.

9 MR. MINER: -- to do temporary assignments,  
10 furloughs, to perhaps bridge the gap until we can  
11 find new, young talent.

12 GENERAL WILLIAMS: Excellent point.  
13 Excellent point. That's the creativity that we need  
14 to be looking at.

15 Yes, Robin?

16 MS. OLSEN: General, I just wanted to say  
17 you have a great resource in a former member of the  
18 panel in Ed Denton, the Vice-Chancellor of  
19 Facilities at UC-Berkley, and he's also an  
20 architect. He might be able to guide -- there may  
21 be some group, some university group, perhaps, for  
22 Facility Managers, and that would be an excellent  
23 resource. Another one would be a member of AOD, Bob  
24 Kress, from Princeton. You've met him before.

25 GENERAL WILLIAMS: Yes, um-hmm.

1 MS. OLSEN: So we can look into that, if  
2 you'd like.

3 GENERAL WILLIAMS: Okay, very good. Thanks  
4 for those suggestions. Okay. Yeah, that's very  
5 good. Okay --

6 MR. STINGLY: General, Pat Stingly from DS.  
7 I wrote to Harry Thomas about this about two weeks  
8 ago. I think one of the biggest problems we have is  
9 that people don't apply for jobs the way the  
10 Government expects them to anymore. When I -- I've  
11 been in the private side, as well as in the  
12 Government. When I was on the private side, I'd put  
13 a resume on Monster, and employers would pull from a  
14 pool. To work for the Government, I have to submit  
15 time and time and time and time again, and frankly,  
16 a lot of the good people just get other jobs first.  
17 If we want to compete with private industry, we have  
18 to compete like private industry.

19 GENERAL WILLIAMS: Correct.

20 MR. STINGLY: And OMB A-76, we all know  
21 that as the thing that outsources our jobs, but it  
22 also says to seek public and private partnerships,  
23 find out how they do stuff in private industry, and  
24 try to emulate that. I think we go back to Harry,  
25 and we say, "Harry, look. We need to be able to

1 compete, and we need to be able to hire people from  
2 a pool the way that private industry does." And I  
3 have the same problem with DS, and anybody who's  
4 trying to get talent.

5 But everybody in this room around us can  
6 get the talent, so clearly it can be done. Thank  
7 you.

8 GENERAL WILLIAMS: I know. Thank you.  
9 Yes? Okay. I think we'll move now to Regan and  
10 Bill Flemming.

11 MR. FLEMMING: I'll speak first.

12 GENERAL WILLIAMS: Okay.

13 MR. FLEMMING: First off, I think the  
14 problem is a lot greater than you guys even realize  
15 yet. I'll show you some more statistics, and we'll  
16 walk out of here with a lot of statistics, but the  
17 issue is not only about facilities managers; it's  
18 about the cost of design and construction, and with  
19 the lack of talent out there, you're going to see  
20 that we're all competing for a very small amount of  
21 people, and it's going to start to affect cost very  
22 greatly. We also need some industry change,  
23 particularly in the design and construction  
24 industry. The design and construction industry in  
25 the past has been what I would call "go steal the

1 people from your competitors." That doesn't work  
2 anymore because people don't want to leave. They're  
3 hard to attract, so we need different strategies,  
4 and I'll talk to you about what a group of companies  
5 are doing around the world to that, to show you some  
6 of those examples.

7           And finally, you know, the industry has to  
8 invest in the people, and the problem in the design  
9 and construction business, as those in this room  
10 will tell you, the margins are so razor-thin, it's  
11 difficult to really make the investment that's  
12 necessary, but that's the advantage the Government  
13 has, is they can make that investment, so you'll see  
14 some of those strategies as I move forward.

15           There are going to be a lot of slides here  
16 because I made a presentation to a worldwide group,  
17 and I wanted to make sure that everybody had the  
18 ability to have these slides, so I'm going to rifle  
19 through them. They'll be in the meeting minutes,  
20 and if anybody has questions about them, come back  
21 to me, okay?

22           GENERAL WILLIAMS: Okay.

23           MR. FLEMMING: Next. On this particular  
24 slide, you'll see that, I believe, the statistic  
25 that Jonathan mentioned was in the short-term, but

1 you're going to see on the far left that the curve  
2 is actually getting much greater and much steeper  
3 from the year, say, 2005 to the year 2050, the  
4 number of 60-year-old people that there are going to  
5 be, and the number of people that are younger, that  
6 are going to come into the workforce, are going to  
7 get less.

8           And you can see by the curve on the right  
9 side, and I apologize if you can't read that, the  
10 yellow bars are men in the workforce; the green are  
11 women. You can see we're having a steady decline in  
12 the number of people entering the workforce. So,  
13 guess what? We're all competing for more people  
14 fairly quickly. Next.

15           This is just a slide that shows that the --  
16 this is not a United States problem; this is a  
17 European problem as well. In my particular company,  
18 28% of the people that work in our company are going  
19 to retire before the year 2022. That's  
20 approximately 25% of our people that are going to  
21 retire. We have to replace 16,000 people to stay at  
22 the same rate we are. Now, we're just one company.  
23 Everyone in this room will have the same problem,  
24 and all of these business units have big groups of  
25 people between the age of 40, 50, and late 50s.

1 Next.

2           This slide, and I apologize, you can't see  
3 the yellow bar here, shows what's happening in the  
4 engineering field, and we all compete for engineers  
5 to do our job. You can see that Masters degrees and  
6 Bachelors degrees -- Bachelors are blue and Masters  
7 are in red -- are slightly increasing, but if you  
8 could see this, and I apologize -- the yellow bar  
9 for civil engineers is diving down at a dramatic  
10 rate. So, guess what? There's less civil engineers  
11 in our business, which is making the overheated  
12 construction market even worse. Next.

13           Oh, there's the bar. Sorry. It is a very  
14 scary statistic. You can read where that  
15 information comes from. Next.

16           So, what's causing all these problems?  
17 Well, salaries in the high-tech industry are a heck  
18 of a lot better than they are in design and  
19 construction, I can tell you that. And I'm sure  
20 that you have the same problem in the Government  
21 sector. For instance, in Argentina, where we have a  
22 large construction operation, the oil and gas  
23 industry wants to steal all the people because oil  
24 and gas, obviously, is driving the markets these  
25 days. So, we're competing there.

1           And, as you start to look at the average  
2 length of stay that people stay in a job, people  
3 don't stay very long. And we'll get to why that is  
4 in a moment, but one-third of the people that come  
5 out of college stay less than a year in their job.  
6 They get lured away by more money, sexier jobs, so  
7 forth. So we have to compete with that. And, in  
8 Europe, we did a study on what would happen in  
9 Finland. In 2003, people stayed an average of eight  
10 years. They're staying a lot less there, also, so  
11 again, it's a worldwide problem for talent. Next.

12           So in our particular company, what we look  
13 at is, we've got to find the number of young people  
14 in the workforce. We've got to find educated  
15 people. They've got to choose the construction  
16 industry, which is a problem, and then they've got  
17 to choose a particular company, which could be, in  
18 our case, this slide, it's Skanska. In your case,  
19 it's the Government. So you've got a tough  
20 funneling exercise, and we'll talk about how to  
21 challenge that in a moment. Next.

22           So what's wrong with this industry? Well,  
23 we have a poor image of the industry. Next slide.

24           Engineers coming out of MIT, 10% of them  
25 choose the building and civil construction industry



1 as civil engineering. That's pretty bad when you  
2 look at the number of people being trained in  
3 universities, nobody wants to go in this business,  
4 and I'm sure it's the same in facilities management,  
5 if not worse. Next.

6 A study that was done by -- of high school  
7 students ranked the construction industry dead last,  
8 248 out of 250, as an industry to go into. We  
9 cannot survive in our economy if we can't get the  
10 largest economic engine, which is construction, to  
11 fix that problem right there. And we need to work  
12 with high school students to get this image changed,  
13 or we're all going to be in trouble going forward.  
14 Next.

15 Here's a quote from a former executive at  
16 Perini: "We are the worst marketers of this  
17 industry." We just do a terrible job of marketing  
18 what we're trying to do. We may market to each  
19 other to try to get business, but we don't market  
20 this as a career. Next.

21 This is a slide -- we went to a job fair.  
22 There were 120 companies advertising for 80 students  
23 at Purdue University.

24 (Laughter.)

25 MR. FLEMMING: Geez. Pretty good odds

1 there, huh? Next.

2           So, what are some snapshots of what people  
3 are actually doing to solve this problem, at least  
4 in the construction industry? You can't read all of  
5 these, but these are some European companies.  
6 There's a Spanish company that has a significant  
7 internship program, offering internships and trying  
8 to train people early in their college career, to  
9 educate them what the business is about, and I would  
10 assume that you could do something similar. Balfour  
11 Beatty, which is an English company, has a job  
12 rotation system where they give people a different  
13 flavor fairly quickly, as opposed to one career  
14 path, to try to get them to see the breadth of this  
15 industry. Next.

16           Turner, which is a subsidiary of a German  
17 company, has made a significant investment in the  
18 minority training program to train minorities and  
19 women to try to come into this business, to move up  
20 those numbers that we saw are so low, and educate  
21 people. Next.

22           Bouig, which is a French company, has a  
23 significant investment in a stock option plan, and  
24 makes sure that each Senior Executive touches as  
25 many young people as they can to let them know how

1 important they are to the company, and Peab, which  
2 is a Swedish company, has moved into the high school  
3 sector to try to make sure that the workforce that's  
4 actually going to build the buildings gets trained  
5 effectively, which is another huge problem we have,  
6 is people out there trying to actually build these  
7 buildings. Next.

8           And here's a few other ones. Keyword has a  
9 stock ownership plan, and ACE has a mentoring  
10 program to try to get to the lower level. So there  
11 are some things being done out there to try to get  
12 younger people in. Next.

13           So, the number of people entering the  
14 workforce has to be thought of. We then need to go  
15 into the education and make sure people are educated  
16 correctly. Then, they've got to choose the  
17 construction industry, and then they've got to  
18 choose what company they want to work for. So,  
19 we've got to start at the top in making sure people  
20 really understand this problem, and that we start to  
21 attack it, and not just steal people, as I've said  
22 before.

23           Michael?

24           Here's an interesting slide about -- what  
25 we've found about people wanting to come into it.

1 In the '80s, we had high performers, and then we  
2 had, in the '90s, a startup, and now in 2000, what  
3 young people want is quality of life. They don't  
4 want to work 50 and 60 hours anymore. They don't  
5 want to go to tough assignments; they want the easy  
6 way out. So, we've got to find ways to deal with  
7 that, you know? It's just out there. The kids  
8 these days want a simple way out. Next.

9 Here's a slide about what younger people  
10 want: flexibility, they want responsibility, they  
11 want a lot of money.

12 (Laughter.)

13 MR. FLEMMING: Everybody's laughing, but  
14 I'm sure you can relate to these things, so when  
15 we're attracting kids, we have to figure out how we  
16 deal with all of those issues. And one way to deal  
17 with that is just trying to sell this industry  
18 better. Go the next slide, Michael, please.

19 Here's another interesting statistic about  
20 high school students, that they want a good salary,  
21 they want a quality of life, they want to gain  
22 experience real quickly. Geez, for me, when I was  
23 coming out of college, it was going to be 10 years  
24 until you got to any senior management  
25 responsibility. Now, it's two to three years, and

1 they want to run a 50 or 100 million dollar project.  
2 That's a scary thought in this business. Next.

3 (Laughter.)

4 MR. FLEMMING: So, this is a map that we've  
5 put together of how we attack this problem with  
6 university students, and we started to put it into  
7 blocks where you concentrate on the strengths of the  
8 industry and leverage that, versus just try to  
9 attack it with money or simple issues, and it's  
10 difficult to read that, but if you give somebody a  
11 good starting salary, you give them a good training  
12 program, you show them good career growth, and you  
13 rotate them through, they're going to take the  
14 adventurous route. And you want to leverage that  
15 versus leverage the low-priority issues, which are,  
16 you know, how hard you're going to have to work.  
17 And again, you can read this in the notes. Next,  
18 Michael.

19 So that's just a snapshot of some things  
20 that we've found, and what I've researched in some  
21 companies and how they're attacking, you know, the  
22 issue out there in the workforce.

23 GENERAL WILLIAMS: That's very good. Let's  
24 hear Regan, and then we'll hear some questions.

25 MR. McDONALD: Thank you, sir. Good

1 morning, everyone. My comments really go back to  
2 one of the comments that Joe made on looking for  
3 affiliations that will benefit OBO, and the one that  
4 I'm going to speak on today is IFMA, or the  
5 International Facility Management Association. And  
6 that's an organization that has a lot of momentum  
7 right now, and the organization that I represent,  
8 SAME, has actually just this year forged a strategic  
9 partnership with that organization at the national  
10 level, and so I do know a little bit about that.

11           Clearly, there are other organizations out  
12 there that you should look at, but knowing the most  
13 about them, I'm going to go into detail on some of  
14 the things that they provide today. They do have a  
15 local Capitol Region chapter that I think you could  
16 benefit from. In addition to that, there are people  
17 in the local area, right here, as close as Fairfax,  
18 that operate with that organization. Although their  
19 Headquarters is in Houston, the local people operate  
20 at the national level, and I've contacted them, and  
21 I'm going to provide this information paper to you  
22 today in hard copy, and later in soft copy.

23           But beyond what I do today, I'd like to let  
24 you know that these people are very willing, and I  
25 will facilitate getting them together with you to

1 see if there is a synergy there, and if it's  
2 something that you want to get off the ground as far  
3 as creating a strategic plan.

4           But IFMA really is a -- offers a lot of  
5 benefits: A professional network, a community of  
6 practice, training, certification programs, really  
7 an opportunity for focused recruiting for Facility  
8 Managers, and I think that the "I" in "IFMA" is  
9 something that this organization in particular may  
10 benefit from internationally because there is a  
11 presence in a number of countries that may produce  
12 benefits as well.

13           One of the local principals in IFMA  
14 actually participated recently with Retired Admiral  
15 David Nash on core competencies for Federal  
16 facilities asset management through 2020, which was  
17 a National Research Council initiative, and I'll  
18 give you the information where that report is  
19 published. A great source of information, and very  
20 fresh.

21           The certifications that I mentioned are  
22 really the standard for facilities management.  
23 There's an entry-level FMP, or Facility Management  
24 Professional, certification, as well as the more  
25 commonly known CFM, or Certified Facility Manager.

1 Both of those are administered by IFMA, and they  
2 should be encouraged and really touted by OBO for  
3 FMs, I believe.

4           The strategic partnership that I mentioned  
5 resulted in the first-ever jointly hosted training  
6 and education workshop last September. I'll provide  
7 the link to you, that you can go back and look at  
8 the agenda and the slides from that event that was  
9 held right here in the DC area in September. Some  
10 good topics, clearly.

11           You also touched on universities, and it's  
12 good to hear that you recruit from 58 different  
13 universities. They're clearly targeted for facility  
14 management. There are four that IFMA recognizes as  
15 certificate programs that they stand behind: Two  
16 are in California, one is in Berkeley, and the  
17 gentleman that you mentioned no doubt is affiliated  
18 with that program. One is the University of  
19 Washington, and as luck would have it, the fourth is  
20 none other than George Mason University, right here  
21 in our backyard. They've actually inherited a  
22 facility management certificate program that's about  
23 15 years old that started at George Washington  
24 University, and has been at GMU for about the past  
25 eight years. Clearly, that is something that OBO



1 should encourage, fund to the extent possible and  
2 legal, and reward folks for getting through that  
3 program.

4           Some other innovative things that I've  
5 thought of before, having worked in an academic  
6 setting in some points in my career: Consider, in a  
7 strategic way, partnering with a university where  
8 you could benefit from stronger relationships with  
9 faculty to develop networks to find key people,  
10 potentially by sponsoring research that might answer  
11 some of your more difficult questions. If there was  
12 an appropriate topic that you could fund and pass on  
13 to a university, I think you'd find that you have a  
14 link there that would endure over a number of years.

15           You mentioned that you recruit from service  
16 organizations for transitioning NCOs and officers,  
17 and that's great. No doubt, the recommendations  
18 that I have, you're already on the trail, but I  
19 would tell you that I've also reached back to my  
20 colleagues in the Corps of Engineers, where I came  
21 from before retiring, and clearly the Corps shares  
22 your challenges of recruiting. The DC Metro area,  
23 for your folks that work in the home office, you are  
24 competing with BRAC like never before in this  
25 location; you're well aware of that. But the Corps,

1 as you do, that I've learned, does augment their  
2 staffs with service contracts, as well as individual  
3 augmentee personal services contracts, so it's good  
4 to hear that you're already on that path as well.  
5 That appears to be the only logical way ahead to  
6 compete and meet the tasks at hand day by day.

7           The OBO competes with the Corps as well as  
8 industry for those adventure-seeking people to fill  
9 the jobs that you have, and I think the disadvantage  
10 that OBO should think about is the fact that there  
11 is a financial incentive out there in the private  
12 sector, clearly, to work overseas. But if you  
13 wanted to be a Federal employee and deploy overseas,  
14 and you go to USAJOBS, what you're going to find  
15 today are great opportunities offered by other  
16 agencies to work in places like Iraq and  
17 Afghanistan. If you're up for working anyway in  
18 Iraq, why not? But they offer about a 70% bump on  
19 the GS scale for being in a hazardous duty zone, so  
20 you've got to realize that your folks are looking at  
21 those as well, and that is a tough bill.

22           But those are some ideas that I have, and  
23 again, and I'll pass this over to you, and in  
24 closing, I'll make a remark that -- it was observed  
25 out in the hallway with some of my colleagues on the

1 panel today that we have 10 questions and nine panel  
2 members, and just the way the math works out,  
3 someone will always get two questions to answer  
4 every IAP session, so if there's ever a thought in  
5 the future to add a 10th panel member, maybe IFMA or  
6 a like-minded association would be a good add to  
7 your panel, especially as the balance tips from  
8 construction to facility management in the future.  
9 Thanks.

10 GENERAL WILLIAMS: Good try.

11 (Laughter.)

12 GENERAL WILLIAMS: We can always make that  
13 four questions. But I got you -- I can kid him. We  
14 used to wear the same uniform, so -- okay, are there  
15 questions? Comments? Yes.

16 MR. WALLACE: Good to see you, sir.

17 GENERAL WILLIAMS: Thank you. Delighted to  
18 have you.

19 MR. WALLACE: Thank you. I was  
20 wondering -- I hear a lot about the percentages of  
21 people who are eligible to retire. Has the  
22 Government or OBO ever taken the time to actually  
23 poll those people who are eligible to see when  
24 they're going to retire, and what do they do? So  
25 that way, you can track who's going to be leaving

1 and when, and you can come up with an appropriate  
2 succession plan.

3 Another -- you know, Joe's out there  
4 recruiting, but how do you know what to recruit for?  
5 Another thought that I had was, one of the  
6 discussions we had with Bill was retirement  
7 benefits, and how now you're able to move around.  
8 Has OPM ever talked about offering anniversary  
9 bonuses for staying within the same organization?  
10 Because it seems to me that civil servants are  
11 offered incentives to leave by going to other  
12 agencies because they get to raise up a GS level.  
13 They're actually offered a promotion. Well, what  
14 that's doing is you're paying for a person with the  
15 same talent to leave, but then you've also got to  
16 pay for the training of a new person.

17 So, my question there would be, does OPM --  
18 or OBO have anything in place to keep people there?  
19 I think that outreach programs to kids is something  
20 within our industry. Working in the recruiting  
21 industry myself, I know what it's like, and I feel  
22 the pain of a lot of the construction and  
23 engineering firms in here because we're trying to  
24 look for the same people, too, to help you guys.  
25 But there's just not kids out there. I'm Generation

1 X; I'm one of those people on the slide that wants  
2 to work 40 hours a week, but how are you get those  
3 people to go into engineering? And one of the  
4 things I've actually discussed with the Executive  
5 Director from SAME was an engineering campaign  
6 throughout the country. I mean, we're losing our  
7 work to other countries. If we can get across to  
8 the kids growing up now that heroes aren't only  
9 protecting America, but they're building America,  
10 that could do a lot of benefit for our country as  
11 well.

12           GENERAL WILLIAMS: Thank you very much.  
13 Are there any other questions, comments? Yes,  
14 Clare.

15           MS. ARCHER: There are a couple of tools  
16 that we've been using like Bill. We're trying  
17 really hard to get mostly young people in, and we  
18 find that they come in and grow with our company,  
19 and our attrition rate isn't maybe as high as you're  
20 seeing. But a couple of things that this generation  
21 is looking for that is so different than we're all  
22 used to are, one, they want to be trained, and  
23 coming up with a comprehensive approach to training  
24 and crafting that is an enormous benefit and a huge  
25 recruiting tool. And it's something you can do that

1 offsets not being able to compete in the salary  
2 arena at the same rate that maybe we can in the  
3 private sector.

4           And also, career mapping. This whole issue  
5 of, "I need to be a manager next year, not in 10  
6 years" is incredible, and is slightly ridiculous to  
7 a lot of us, but it's real. We've been talking to  
8 some of our project engineers, kind of our one-to-  
9 five year range guys and girls, and they don't  
10 really want to go work on a 50 or run a 50 or 100  
11 million dollar job or work on it right now because  
12 they're not going to be in charge. They want to do  
13 a nice 10 million dollar job where they're the man  
14 or the woman on it, and I don't know -- you know, as  
15 your retirement rate increases, and you have a lot  
16 more opportunities for people to be in charge, and  
17 that happens sooner, that's a powerful recruiting  
18 tool for a lot of kids coming out of school.

19           And actually sitting down with them on an  
20 annual basis and mapping out a career, which kind of  
21 puts the onus for us more on the middle management  
22 and senior management, it's exhausting to do that  
23 every year, but the kids demand it, and they want to  
24 know where they're going to be next, how fast it's  
25 going to be, and how much money they're going to

1 make. It's just real.

2           One of the things that I think is helping  
3 our industry, that we'll probably be talking more  
4 about, is -- and actually we are talking about this  
5 afternoon is BIM, and the new kind of technologies  
6 that are emerging in an industry that's, you know,  
7 sometimes a little dull compared to others. But  
8 it's got a -- for lack of a better word, a sort of  
9 sex appeal to it that's really attractive to young  
10 kids that are more technologically savvy, and as the  
11 usage increases in our industry, I think we need to  
12 do a better job of PR-ing it to get those young,  
13 savvy kids to be interested.

14           And the final thing is that quality of life  
15 issue, which is also unbelievable to most of us, but  
16 people want flex schedules now. It's just kind of  
17 reality, and we're doing it. I'm sure you are at  
18 Skanska too, but -- yeah, work at home, you know,  
19 some flexible work hours. It's just sort of -- just  
20 a reality of our workforce right now, and to be able  
21 to craft a package that sort of, you know, addresses  
22 these issues, kind of outside of the whole monetary  
23 issue, may be an effective tool, and that's not a  
24 tool in your toolkit.

25           So those are just thoughts that we're sort

1 of addressing right now because it's expensive to  
2 get new kids on board. And Regan and I were  
3 talking -- they communicate a lot. They know what  
4 the other guy's making, and they know who's getting  
5 a signing bonus, they know who gets a truck after  
6 two years, and you have to do other things to hook  
7 them.

8 So that's some of the things we're doing.

9 GENERAL WILLIAMS: Right. Excellent. Yes,  
10 Greg?

11 MR. KNOOP: Well, we've certainly a cast a  
12 line into the water a pulled up a bigger fish than  
13 we thought. This is a nationwide problem. It's an  
14 industry-wide problem. Several of us are business  
15 owners, and it touches us every day.

16 I think the strength of what you've talked  
17 about is to go -- we've got to get to the educating  
18 people. I think your point on training, offering a  
19 training throughout their career, and career  
20 mapping, is clearly an important issue. It also  
21 takes a high level of interaction between the  
22 leadership and the youngest employees. You have to  
23 really make them believers in the mission.

24 You know, I think it would be different if  
25 economic times were different. Right now,



1 there's -- people are still reacting to where's it's  
2 sort of a boom economy issue. When I came out, I  
3 was in a recession. Whatever the boss said to do,  
4 I'd do because I want to keep my job, and there's  
5 not that level of risk right now for the employment  
6 base, and so that was a motivator also to self-train  
7 and do more.

8           Now, we have to get in there as leaders.  
9 As a company owner, I'm sure other panel members do  
10 the same; I know John does the same, you really have  
11 to get in and invest in your employees, and that's  
12 really -- you invest in your employees, and that's a  
13 major thing.

14           The other thing is to get early into the  
15 industry. We've seen a gentrification of the  
16 education system at the collegiate level, and  
17 frankly, we're bypassing a lot of people might be  
18 major contributors to this industry. We have to  
19 find a way as an industry, as a people, to touch  
20 those people and get them into the workforce and  
21 make them positive contributors. Otherwise, we're  
22 going to see, and we're already seeing, technical  
23 jobs walking overseas and going to other areas, and  
24 our workforce is aware of it.

25           So, I don't know if we're going to settle

1 the question here. I compliment you on putting such  
2 a difficult question on the board right now.

3 GENERAL WILLIAMS: Thank you, Greg.

4 MR. HICKS: Can I just add one thing, sir?

5 GENERAL WILLIAMS: Yes.

6 MR. HICKS: You know, I'm sitting here  
7 asking myself, "What I have personally done to help  
8 with this situation," and the answer is, "Not much."  
9 I went to Michigan State University, which has a  
10 very good engineering program, building and  
11 construction management program. I go back there  
12 regularly. Have I ever bothered to stop in at  
13 Michigan State and, you know, work with the  
14 administrator to put up some notices that a guy from  
15 the State Department is going to be there, an alumni  
16 pitching, you know, to the landscape architecture,  
17 planning -- I've not done that. And I think if we  
18 tasked external affairs with putting together a  
19 great presentation, I mean, we've got a lot of  
20 sizzle. If somebody had shown up and pitched these  
21 embassies to me at the age of 20, 21, you know, I  
22 would have joined this man's army.

23 But I think if we can get something like  
24 that, I think all of us as individuals, beyond the  
25 abstract level, what we do with this dilemma, I'd be

1 happy to stay an extra day when I'm in Michigan, on  
2 my own time, you know, doing something like that.  
3 So if we work with Michael and see if we can get  
4 some standard presentation that we can all take with  
5 us on the road when we go back home --

6 GENERAL WILLIAMS: Excellent. Yes. Suman?

7 MS. SORG: General Williams, I've polled my  
8 own staff as to why they came to work for my  
9 company, when they had many, many choices in  
10 Washington with big companies and branch offices of  
11 even bigger companies, and the one answer I get from  
12 every young person is your website. It's really a  
13 big investment in your website, and they get an idea  
14 of the creative bend of the company, and the risk-  
15 taking it wants to do, or just -- you know, I think  
16 these kids really count on that, and it's -- so  
17 we've actually hired a new consultant from New York  
18 who's looking at our website with that in mind, not  
19 just, you know, attracting clients, but attracting  
20 talent.

21 GENERAL WILLIAMS: The website. That's --  
22 it's amazing what young people want, yeah. Yes?

23 MS. GOSHOW: I would like to say something,  
24 General.

25 GENERAL WILLIAMS: Yes?

1 MS. GOSHOW: I think quality of life is  
2 important to the younger generation, but making a  
3 difference and transformational diplomacy makes a  
4 difference worldwide internationally. You have the  
5 right platform. You have the idea for people to get  
6 behind, and I think this younger generation will get  
7 behind that. I don't think enough people know about  
8 that part of the State Department, and maybe that's  
9 a PR initiative that needs to be worked on, and the  
10 word needs to get out about that because that's a  
11 huge, huge issue. Thank you.

12 GENERAL WILLIAMS: That's good, Nancy.  
13 Yes, Greg?

14 MR. KNOOP: You almost have to raise -- I  
15 actually am very frank with the people I interview.  
16 I tell them, this is a tough industry. It takes  
17 people who are serious-minded, and it takes time and  
18 experience to develop in this industry. And I think  
19 a frank -- speaking to people frankly and appealing  
20 to the level that it takes a higher level of --  
21 appeal to their own sense of excellence, that we're  
22 not looking just for the comfortable life. This is  
23 work. This is a workplace. These are jobs, and  
24 this is a job that takes higher-level people. It  
25 takes excellent people. It takes people who strive

1 for -- to do well. It is not just a clock-punching  
2 type of industry.

3 I know that that's a tough message to hear,  
4 but it is a message I've found is received and  
5 understood by the employees I have, and if they have  
6 a level of belief in the thing that they're doing,  
7 then it changes the job that they have to an almost  
8 heroic level. You mentioned sort of the service,  
9 and people want to be heroes. People want to do  
10 something of that level, and I think that it really  
11 behooves us to reach out and change the image. I  
12 think you talked about we're not the best  
13 advertisers of our own industry. Change the image  
14 of our industry. We are building heroes who  
15 contribute to this country, and to the diplomatic  
16 mission of the State Department.

17 GENERAL WILLIAMS: Okay. Thanks, Greg.  
18 Yes, John?

19 MR. WOODS: I don't want to repeat a lot of  
20 things, but what Clare said and what Bill said,  
21 we're learning that money is not the driving force  
22 for kids to go to work. They want to know what  
23 they're going to do, and they want to know where  
24 they're going to work, and they want to know who  
25 they're going to work with.

1           So, one of the other downsides of  
2 Generation X is, "I only want to work 40 hours a  
3 week," balancing this life and work. We do find  
4 that the flex time, letting people work at home,  
5 we're actively recruiting part-time employees,  
6 particularly women, who have engineering degrees,  
7 but want to stay home with their kids, or who want  
8 to go back home every day. I have one who started  
9 out 10 years ago working 18 hours a week. Her last  
10 child is going off the Naval Academy this fall;  
11 she's already up to 32. She will be working 40.

12           One of the difficult things we have in the  
13 private sector with hiring part-time employees, and  
14 I don't know that the Government even has the  
15 capability of doing it is, I don't have any part-  
16 time clients.

17           (Laughter.)

18           MR. WOODS: So, one other issues that --  
19 when Bill was talking about MIT, we have a difficult  
20 time of convincing young people that engineering,  
21 science, and math are exciting careers, and that  
22 they are not as hard as they believe. When you see  
23 people on Wall Street in investment banking,  
24 apparently not working very hard but taking home a  
25 heck of a lot of money, it's hard to get someone to

1 take a civil engineering program at Virginia Tech or  
2 Maryland when they think something else is easier.

3 GENERAL WILLIAMS: Excellent. Yes, I'll  
4 take one over here first, and then I'll come back.  
5 Yes?

6 MR. WILLMAN: Thank you, General. I'd just  
7 like to let the people who've come here today know  
8 the status on our recent hires of Facility Managers  
9 because I've had the pleasure of meeting them both  
10 when they come to Springfield, and then also out in  
11 Managua in Panama, other places when they're  
12 actually in the field. First of all, they all have  
13 a four-year engineering degree. That's now a  
14 requirement. It's essential that -- the technology  
15 of the building demands that type of educational  
16 background.

17 Further, they all have at least 10 years of  
18 experience of managing facilities, so they haven't  
19 just been a design engineer; they actually have  
20 hands-on experience. We also have a training  
21 manager that tracks the training initiatives as they  
22 go through their career, and in fact, there is a  
23 plan now to have an exclusive OBO facility  
24 management training program at the Foreign Service  
25 Institute, so that instead of just learning what a

1 GSO does, they'll learn really what a Facility  
2 Manager does. So, we're doing that, and also,  
3 again, as they rise up through their Foreign Service  
4 specialty, they have to have these certifications on  
5 the way up.

6 So, I think I am more impressed who I've  
7 had coming in recently, the last two years, and I  
8 know they have a high degree of satisfaction once  
9 they get out to the field and see what they can do.

10 GENERAL WILLIAMS: Good. Thank you. Yes?

11 MR. NORMAN: Hello. I'm Ravi Norman, a  
12 partner and CFO at Thor Construction, and I'm a  
13 first-timer here, so this has been some great  
14 discourse.

15 We've done two things in the construction  
16 industry because I think we recognize that the  
17 shortage of skilled labor is an issue that's across  
18 industry. But we've done two particular pieces to  
19 try to go after who aren't necessarily attached to  
20 the labor force, and it's really two segments that  
21 we've looked at.

22 On one side, we've created a web-based  
23 network that attaches all of our projects with the  
24 county, with accredited vocational training  
25 organizations, with community-based and faith-based



1 organizations, and with the participant population  
2 that we're trying to go after, which in this case is  
3 people who have been in the prison system, and maybe  
4 have recidivism rates that are really high, and  
5 trying to bring them into the labor force, into the  
6 workplace of construction.

7           We've also looked at welfare-to-work  
8 programs, and partnered with them as well to try and  
9 bring both women, which is a tough piece in our  
10 industry, women and people of color into our  
11 opportunities through accredited pre-apprenticeship  
12 programs. And we've been able to get traction in  
13 that way.

14           The other thing that we've done is, we've  
15 partnered up with a vocational training organization  
16 to try to deliver construction education in a  
17 different way. So, we try to do content transfer  
18 solutions through things such as the iPod, or the  
19 Nintendo DS, which is something we're doing right  
20 now, which is actually looking at passing curriculum  
21 through those type of technologies because we feel  
22 like not only do those technologies have operating  
23 systems that tend to function like the brain works,  
24 but they're also contemporary and cool. And if you  
25 want to get young people, you have to be doing

1 something that's relevant to being contemporary and  
2 cool, and those type of systems, if you can build  
3 curriculum appropriately, and so -- since we're  
4 doing it in the construction industry, I know it can  
5 be done in a variety of pieces like facility  
6 management, and delivering it through these systems  
7 that a lot of the youth are utilizing.

8           GENERAL WILLIAMS: That's an excellent  
9 point. You're looking at skilled labor from --  
10 that's where you're focusing.

11           MR. NORMAN: Yes.

12           GENERAL WILLIAMS: Um-hmm. Good. Thank  
13 you.

14           MR. NORMAN: Thank you.

15           GENERAL WILLIAMS: Are there other  
16 questions, concerns? Comments? Yes, Ida?

17           MS. BROOKER: I find this conversation and  
18 this topic rather interesting. Being from the  
19 construction industry, we talked about this same  
20 subject back in the late '80s and '90s, and at that  
21 time, it was called Workforce 2000 because we knew  
22 there was going to be a shortage.

23                   87% of women know what they're going to do,  
24 or think they know what they're going to do, by the  
25 time they hit high school. That is a problem, and

1 the problem being is that construction, Foreign  
2 Service, and those kinds of careers are not on the  
3 radar screen.

4           So the only thing that we could see to do  
5 was to start in the vocational days at the junior  
6 high schools in our area, to go in and do  
7 presentations on some of the alternative careers.  
8 Now, this is not, of course, a short-term solution  
9 to the problem here, but it is a long-term  
10 opportunity of opening the doorways and the thought  
11 processes to those students, and we didn't -- while  
12 I do represent women construction owners and  
13 executives, it was not just a female issue. It is  
14 an issue for all students of that age group, to open  
15 their perspective on what is available for their  
16 future besides just degrees in this, that, or the  
17 other thing. It's looking more beyond degrees, but  
18 into careers, and opening their eyes as to the long-  
19 term goal isn't just the degree. The long-term goal  
20 is, what do I really want to do with my life when I  
21 grow up, and then looking at how to go about getting  
22 there.

23           So many of those students were just looking  
24 at just getting a degree, and then we'll see what  
25 happens. But the problem with that is that so many

1 doors are closed to them because they didn't pursue  
2 the degrees that would get them to where they really  
3 wanted to go, and I think that as associations and  
4 as companies in this industry, especially the  
5 private sector, I think, has recognized this, and I  
6 don't know what is being done on the Government side  
7 of the equation, but there certainly seems to be a  
8 whole lot of opportunity to open the door for  
9 Government participation as well because the Federal  
10 Government is a very diverse network of career  
11 opportunities, and the only ones I see doing any  
12 outreach are the military branches. And we see  
13 those commercials all the time, but I don't know  
14 that there's a lot of other opportunity, and like  
15 they were saying, is that the private sector does do  
16 a lot in those areas, and I think that the Federal  
17 Government has an opportunity and a responsibility  
18 to open those doors as well.

19           GENERAL WILLIAMS: Thank you, Ida. Okay.  
20 I think -- I know this is -- we knew this when we  
21 put this on, that this was going to be a big topic  
22 because we've talked about it before with this  
23 panel, and we haven't solved any piece of the  
24 problem today, but I think we have reminded  
25 ourselves and raised the level of awareness that

1 there is a problem. I think that is the biggest  
2 issue to get through, and clearly we have recognized  
3 it here. We've been on it, if you will, for the  
4 last two or three years in a big way. We don't have  
5 the exact path that we want employees; that's why  
6 we're trying to inquire and get smarter about it,  
7 but you've been very helpful this morning because I  
8 think the most visible problem we have is in the  
9 Corps side of our problem, the engineers,  
10 architects, et cetera. It was focused on engineers,  
11 but being that low of a preference in terms of  
12 education, and knowing that we're going to need  
13 quality people, is disturbing. But nevertheless, it  
14 is a fact, and we have to deal with it.

15 A lot of discussion about change. We have  
16 to change the way we see things, and any idea that's  
17 coming to the table, we can't pooh-pooh it. Because  
18 let me tell you, we don't have a better mousetrap,  
19 so if someone is bringing something to the table, we  
20 really need to try to take a look at it and see what  
21 we can do about it.

22 The whole notion of image, I couldn't agree  
23 more. This is a problem, how we're presented, et  
24 cetera, et cetera. We have to recognize that what  
25 we think is excitable to a young prospect is not

1 what they think. So, we're going to have to somehow  
2 figure out -- what was the words you used over  
3 there, my friend? Cool and something?

4 MR. NORMAN: Contemporary.

5 GENERAL WILLIAMS: Okay. Contemporary and  
6 cool. You know, my grandkid keeps me up on that; I  
7 just didn't check with him this morning, so when I  
8 go back, I'll tell him that, "Gee, someone broke the  
9 code on it for me."

10 So, but you know, all kidding aside, we've  
11 got to get there. We just might be saying it wrong.  
12 And then, of course, investment in education and all  
13 the flexibility that affects gender and all. You  
14 know, the six-figure job might not be the thing to  
15 talk about. You know, staying home and having more  
16 time to go see their favorite movie might be better  
17 than making more money today. So, we just have to  
18 recognize that, and work against it.

19 So, thanks a lot for your input, and we'll  
20 break now for lunch, and as usual, the staff will  
21 make certain that the non-panel members get to the  
22 appropriate place for a little snack. We do want  
23 you all back this afternoon because we have some  
24 very interesting topics. We're going to revisit  
25 Value Engineering. You have the program before you,

1 so please find a way to be with us. Thank you.

2 (Whereupon, the luncheon break was taken.)

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1                   A F T E R N O O N   S E S S I O N

2                   GENERAL WILLIAMS:   Okay, let's get started.  
3   Okay, we're going to kick things off this afternoon  
4   with a revisit of Value Engineering, and we'll have  
5   Kathy Bethany, my friend for seven years --

6                   MS. BETHANY:    Yes, sir.

7                   GENERAL WILLIAMS:   Okay.   And of course,  
8   Greg and John will be assisting her.   Okay, Kathy.

9                   MS. BETHANY:    Thank you, sir.   I want to  
10   welcome everybody back from lunch.   I think this is  
11   the second time I've been the kickoff after lunch,  
12   so I hope everybody's energized.   I will try to get  
13   through these quickly because I know we have several  
14   topics, but the topic today is "Value Engineering  
15   Program:   What's New?"   So I'm going to do a very  
16   quick overview because I know last time we did talk  
17   a little bit about what the Value Engineering  
18   program is, and then give a little bit of what's new  
19   from last time, and a little bit of our results of  
20   how we've been doing recently.

21                   So this next slide talks about our program  
22   requirements.   Again, every project that's over a  
23   million dollars has a VE study or a waiver in place  
24   at or before the 35% design.   Some definitions that  
25   are going to be kind of critical to what we're



1 talking about: Savings are calculated based on the  
2 cost estimate that was in place at the time the  
3 documents -- at the time of the VE study. So in  
4 some cases, probably a majority of our cases, the VE  
5 study is being at done at the time when a project  
6 might be over budget, so some of these savings that  
7 you'll see are bringing projects back into budget.

8 Proposed savings that are the ones that are  
9 estimated by the independent VE team. Accepted  
10 savings are per an implementation memo that we get  
11 from the project team prior to constructions start,  
12 and then implemented -- one thing that is new, we're  
13 starting to track implemented versus accepted.  
14 That's verified during a VE site assessment trip  
15 that's taking place near the end of -- completion of  
16 construction.

17 So, you saw this last time. How does VE  
18 benefit OBO? It gives us the biggest bang for all  
19 of our bucks; that's life cycle, O&M, and initial  
20 cost savings.

21 So what's new? Well, first off, this might  
22 be the last time you'll hear me talking about Value  
23 Engineering, although it will still be under me as  
24 the Cost Management Division Director. Reza  
25 Darvishian over here is going to be taking over as

1 the VE manager at OBO. Angela Collins, who has been  
2 with me a couple of years, will still be working,  
3 and Laurie Dennis, who is here, has been helping out  
4 in the transition period. She has the background  
5 also as a certified value specialist.

6 Another what's new: VE is in Cost  
7 Management, and it has been moved to Planning, so as  
8 per one of the Williams 20, it is within Planning,  
9 and we are doing the Value Engineering studies  
10 earlier in the project life cycle. We have also  
11 implemented VE implementation assessment trips.  
12 During this transition period, they haven't been as  
13 regular as they were right before, but they'll be  
14 coming back up again as far as going out and  
15 verifying what was actually implemented.

16 Some ongoing things that aren't on the  
17 slide are some tracking of VE results, which I'll  
18 get into in a minute, and as always, we look for  
19 continued improvement, so I'm really hoping to get  
20 some information from the panel as to what we can do  
21 better to continue to grow our Value Engineering  
22 program. And another ongoing thing is, the Value  
23 Engineering program does fit in with other Lessons  
24 Learned and process improvements; you know, VE  
25 recommendations are entered into our standard change

1 request, and they do get implemented into the  
2 Standard Embassy Design as appropriate.

3           So the next slide, this has been updated.  
4 It shows return on investment, and one of the  
5 reasons why we do the Value Engineering studies  
6 during planning, if you see the dark blue line,  
7 those are design/build projects that we did VE  
8 studies on, and this goes from 2000 to 2007. There  
9 were 46 studies, and the return on investment on  
10 average for those projects in planning, VE studies  
11 that were done during planning, return on investment  
12 was 118 to 1. So that's a pretty good investment  
13 for our VE dollar. When it was in design  
14 development, a little bit further down, it was 21  
15 dollars per 1. That's still a very good return on  
16 investment; I wish I could get that, you know, for  
17 my own personal investments, but you know,  
18 obviously, we would like to get as much bang for the  
19 buck as we can.

20           Now, these return on investments are the  
21 cost of the VE study, bringing in the independent  
22 team; when I was full-time on it, it was my full-  
23 time salary, obviously. It would be Reza and  
24 Angela's full-time salary. It's all compared to the  
25 cost of the study as to how much savings, life cycle

1 savings, have been implemented.

2 I know that we also need to look at  
3 improving quality, and some of those are  
4 intangibles, and functionality, but the easy one to  
5 track, obviously, is the savings of cost.

6 This next slide is a summary slide that I  
7 do use a lot in talking about the Value Engineering  
8 program. It has the definition of Value Engineering  
9 on it; it also shows the results. In the column to  
10 the right, from 2000 to 2007, is the one I want to  
11 focus on because, again, General, you're here seven  
12 years, and you know, it's interesting to see that  
13 we've done 160 studies. The program cost, if you  
14 add in my salary and others, is about nine million,  
15 but we saved 518 million, and that's accepted,  
16 implemented savings. So far, a savings of 57 to 1.  
17 We accepted 2,030 recommendations, so it has been a  
18 very useful program for us, but I do caution, don't  
19 take the 518 million and think that is money that we  
20 had back. Some of it is cost avoidance; some of it  
21 was bringing projects back into budget when we were  
22 trying to figure out the best way of doing our  
23 program.

24 Next slide is this year. Excuse me, the FY  
25 2007 results. We did 11 studies, 91 accepted VE

1 recommendations to date because we're still missing  
2 a few of the implementation memos because the  
3 projects were done late in the fiscal year, and they  
4 haven't made it through the system yet. Our goal  
5 for a proposed savings by the VE team, this is a  
6 measure back to the VE team, making sure they give  
7 us some good quality recommendations, is 10%. We  
8 got 15%; that was a good thing. The accepted VE  
9 recommendations, a goal which is also an industry  
10 average is about 4%, and we got just over 5.8,  
11 almost 6%, and the return on investment this year so  
12 far is 44 to 1.

13           Now, this includes all of the costs, but it  
14 doesn't include -- some of the savings are zero  
15 still because we haven't gotten all of the -- so it  
16 should only go up as we get the other  
17 recommendations in.

18           So, the next slide, and I apologize, you  
19 probably can't read this, but I wanted to show some  
20 of the things that we do for tracking purposes.  
21 Every VE recommendation is tracked in a database so  
22 that we can see if they're trends over the program  
23 and get it implemented into the SED. This is one  
24 way of tracking the recommendations; we have the  
25 Uniformat (ph.) code on every VE recommendation, so

1 that we can drill down to how many VE  
2 recommendations are in exterior closure. And in  
3 this case, we've had 244 recommendations on exterior  
4 closure. That says to me, we need to look at that  
5 and improve that in the SED, if we keep getting  
6 similar recommendations over and over. And so, that  
7 was 65 million in savings.

8           It also looks at electrical, and you can  
9 drill down even further if you want to start seeing  
10 what kinds of recommendations. I know the  
11 Electrical Engineering Department has come to me and  
12 said, "We want to see every VE recommendation on  
13 transformers, or anything on generators," and  
14 they'll -- we'll pull that kind of information so  
15 that they can look at those details and make  
16 improvements as they go forward.

17           Now, I have to say this is not the entire  
18 list because if you were to do the math, you would  
19 say, "Wait a minute, this doesn't add up to what you  
20 had before." But this is a snapshot of some of the  
21 recommendations.

22           The next slide is building -- going down to  
23 the exterior building enclosure. Some of the  
24 examples, and I just wanted to show a couple of  
25 examples of some of the VE recommendations coming

1 through: The Berlin NOB, there was a proposal to  
2 use native stone. I know we talked about earlier on  
3 interior finishes, using locally available  
4 materials; in this case, a VE recommendation was to  
5 use native stone rather than imported stone, and it  
6 saved about two million dollars on that.

7 Djibouti, the proposal using paint, and I  
8 know when I read it, I circled it, and I said, "What  
9 do you mean, paint?" It's a special epoxy-type  
10 paint. It's not one that you have to continually  
11 replace. In lieu of stucco, that was going to save  
12 us some money as well in life cycle savings.

13 The next slide, some mechanical -- and I  
14 know we were talking about indoor air quality  
15 earlier. These are accepted savings, and I should  
16 stress that I'm showing you accepted savings:  
17 Things that have been vetted through the offices and  
18 through the various disciplines that they accepted,  
19 "Yes, this is a better recommendation than possibly  
20 what was coming in." Using a heat-recovery chiller,  
21 instead -- you know, to have a life cycle savings.

22 Mumbai using air-cooled chillers, and I  
23 know that was near and dear to your heart. It was  
24 using one of those VE recommendations on the Mumbai  
25 study that allowed air-cooled chillers.

1           The next one is the electrical co-  
2 generation. This one was an interesting one; you  
3 know, accepted savings of a million first cost, but  
4 it's probably going to save over 21 million life  
5 cycle when you start adding in the cost of not using  
6 co-generation.

7           The leading voltage regulators, site  
8 improvements, similar types of things. Using yard  
9 hydrants; it's only 93,000, and a lot of people will  
10 say to me, "Oh, I don't want to make this  
11 recommendation; it's too small." Well, I'm always  
12 saying, "No, it's not too small if it saves -- makes  
13 it a better functioning facility and improves the  
14 quality. Even if it's only 5,000 dollars, or even  
15 if it costs us some money, we want to see that just  
16 to keep track of it because it all adds up in the  
17 end."

18           Replacing an interior roadway with asphalt  
19 instead of concrete, you know, that saved quite a  
20 bit of money, too. For verification, we -- again, I  
21 was mentioning that we have been starting to conduct  
22 some site assessment trips to validate the  
23 implementation and gather Lessons Learned. It's  
24 been kind of interesting because we had visited 15  
25 sites for 22 different VE studies; of that, there



1 were 712 proposed -- these were proposed by the VE  
2 team -- alternatives. Per the acceptance memos from  
3 the teams, they had only accepted 184, but when we  
4 went to the field, we actually found that 290  
5 recommendations had been implemented.

6           So, things have been implemented by  
7 contractors later on, or field staff saying, "Hey,  
8 wait a minute, this makes some sense," and so we  
9 were able to validate what had actually been  
10 implemented.

11           One of the sites we had gone to was  
12 Managua, and I know, sir, you had this up a little  
13 while ago. This was during construction, as you can  
14 tell. He had the finished picture, so it's --  
15 that's what it looked like at the time of the VE  
16 assessment trip, and the next slide shows that in  
17 this particular case, the team proposed 479,000, but  
18 we actually implemented more than what was proposed  
19 because that sometimes happens as well.

20           So, two of the VE recommendations on the  
21 Managua site that I wanted to highlight show the  
22 incorporation of -- these also made it into the SED,  
23 such as combining and reducing air handling units  
24 and eliminating some power factor correction  
25 equipment, depending on things.

1           So, my last slide is, again, our goal is a  
2 functional facility that is worth its cost, and  
3 that's one of the things that we keep trying to  
4 stress with the OBO Value Engineering Program.

5           GENERAL WILLIAMS: Um-hmm. Thank you,  
6 Kathy. And we'll have your two industry cohorts  
7 chime in, and then we'll have some discussion.  
8 Greg?

9           MR. KNOOP: Okay. General Williams, panel  
10 member, and colleagues of the industry, first of  
11 all, Happy Holidays. It's an honor to participate  
12 today. We see ourselves in this industry as a  
13 support component to the SED and the embassy design  
14 and build program which, of course, is a support  
15 program to our diplomatic outreach and missions  
16 around the world.

17           At the last meeting, I reported on several  
18 issues and trends that were industry-wide, and how  
19 they may apply to the OBO program, but today we're  
20 going to look at OBO's program from the industry  
21 side and report on what our findings were, and we  
22 went to several Value Engineering groups to do so.  
23 And I can tell you that the general opinion was that  
24 you have a very successful program, a very high-  
25 quality program.

1           If you look at the first slide, you have a  
2 well-managed program. There's a high level of  
3 support from the leadership and from project  
4 management, and we've seen an increase in the  
5 dialogue between those bodies. I see some people,  
6 Bill Miner, for instance, we were just talking. A  
7 high level of participation is going on between the  
8 project management teams. They're taking an  
9 interest because of the success story that Kathy's  
10 reporting in metrics. There's a greater interest in  
11 what the Value Engineering team brings to the  
12 process.

13           We have multiple, diverse teams that are  
14 able to contract industry experts from all over the  
15 industry, and OBO is willing to bring in high-  
16 quality people to do those studies. We've seen the  
17 program mature, and the good news is that we're  
18 seeing a lot less repeats of things. The SED  
19 program, the embassy program, is learning, and it's  
20 developing, and we're pleased to be a part of  
21 changes in that program.

22           We're going to talk a little bit later on  
23 there are a lot of future possibilities or ways to  
24 take such a progressive program and make it even  
25 more effective as the subject matters progress and

1 change.

2           One of the great positive improvements we  
3 saw is that a majority of your studies are moving  
4 earlier in the process, and we feel that this gives  
5 us greater leverage to effect change in the  
6 projects, effect true value as it's delivered to the  
7 Government and to the United States, and it also  
8 creates less conflicts to the bidders. I don't  
9 think the bidders like to see all of these later-  
10 thought-up changes while they're in the middle of  
11 ordering materials and getting out to sites, so  
12 getting us early in the process helps us solidify  
13 the value potentials that we can deliver to  
14 projects, and I think the Government and the people  
15 of the United States realize that improvement.

16           The OBO team, as I was reporting before, we  
17 have a lot more interaction between OBO management,  
18 a lot more interest in dialogue, especially in the  
19 exit presentations, which means that they're going  
20 to be more likely to make smart implementation  
21 decisions in the process. There's no bad questions;  
22 all questions are good. Next slide.

23           We're seeing increased focus on non-  
24 construction issues, the long-term planning. What  
25 are we buying properties for? Are we just buying it

1 for the first implementation? What's the long-term  
2 plan?

3           Operations and maintenance: This is a huge  
4 subject. We'll cover this in a little bit. And, of  
5 course, the LEED program. All of these going to not  
6 just the construction, but the -- how the building's  
7 used over time. We've also had some studies about  
8 process issues, and we did a study for a Consular's  
9 section where we did similar to the Yale Medical  
10 studies on process, we took all the processes, and  
11 we did the metrics, and if you change one thing, if  
12 you change the cashier station, how much more output  
13 do you have? What is the -- how many -- much more  
14 time in each station do people have to do? So,  
15 Value Engineering has the potential to look at  
16 process and the way people use facilities, and the  
17 programming of those facilities as well. Next.

18           Positive changes to the SED; John, you  
19 wanted to talk a little bit about this.

20           MR. WOODS: As Greg said, many of the  
21 things that have been suggested, and Kathy showed  
22 the list of things, but there have been some  
23 improvements to the SED. The atrium was obviously a  
24 quality of life thing, nice architectural feature  
25 that was put in. The cost of that, with some

1 changes, has been reduced, but still maintains the  
2 quality for your workforce. Changes to the shops  
3 and warehouses, giving the contractor the option in  
4 some places to use pre-engineered metal buildings,  
5 combining shops and warehouses so that the high-roof  
6 areas can be better utilized in a single building.  
7 There've been some other general requirements, and  
8 then looking at the feasibility in the bridging  
9 documents, recent things -- we've seen the -- both  
10 OBO and the VE teams breaking away and coming up  
11 with, I hate to use the cliché, "Thinking out of the  
12 box," but coming up with some new ideas, and these  
13 are being received.

14           The overall thing that's coming is, I  
15 think, the buildings, despite the inflationary costs  
16 that are going along, we're beginning to see that  
17 the costs are not going up quite as fast as the  
18 value that's being received.

19           MR. KNOOP: Well, one thing we saw in  
20 support of that is, on one study that we were doing,  
21 a team took the kit of parts of the SED, and site-  
22 specifically modified those kits of parts for a  
23 site-specific design. It was still an SED, but it  
24 was not a template. As an obligation to the  
25 process, we did a test to see how the SED performed

1 against it, and actually, the resulting design done  
2 by the design firm was 10% more efficient, 10% more  
3 valuable because it was 10% less than the actual  
4 template. So, creativity was confirmed as a reward  
5 to the improved value to U.S. diplomatic facilities.

6           The assessment trips: Well, we all have to  
7 learn from the process. Otherwise, the process  
8 doesn't develop, and as Kathy was reporting before,  
9 several of us have been given the opportunity to go  
10 on these trips. I've talked to several of those  
11 people who have participated in them. They were  
12 extremely informative. They told us whether the  
13 U.S. Government received value for changes that were  
14 implemented or not. They told us the quality of the  
15 reports, and how they are being received as they  
16 carry forward so that we can improve the quality of  
17 VE work that we're doing, and getting feedback from  
18 the construction side out there in the field tells  
19 you a little bit more about the real feasibility of  
20 some of these VE studies, and allows us not just to  
21 simply write thing as a nice academic abstract, but  
22 really something that's practical and usable and  
23 truly feasible. That's what you're paying for,  
24 that's what the interest is in this program, is true  
25 savings. And those trips have been invaluable to

1 having us improve in that area.

2           Our VE teams -- next slide -- are staffed  
3 with experienced professionals. We have a rapid-  
4 moving, sequestered process. Not all groups do  
5 that; some groups have us, the VE team, sit with the  
6 Government team, and everybody's crowded in the  
7 room. But since we're a third-party review group,  
8 the sequestered process is extremely important,  
9 allows us to really open up the box and explore  
10 ideas. That doesn't mean that the Government keeps  
11 complete hands-off; we have very nice visits from  
12 the Government team, who gives us guidance and helps  
13 us make those studies more effective and more useful  
14 to you, and to the American people.

15           And we have seen a greater interaction of  
16 the design team as a result of pushing the process  
17 earlier, where there's not a conflict with the  
18 design/build process, but it's actually with the  
19 feasibility and design process. The designers  
20 return to our exit briefing, and they've had a huge  
21 input at that point, in interacting with us,  
22 supporting ideas that -- perhaps we're settling an  
23 argument that was older in the process, and they've  
24 done a great job -- that's been a very informative  
25 process as well. And we've covered that, really --



1 we're just seeing greater participation, and really  
2 what we're seeing also is better quality in the  
3 design program, and we feel that we've been a  
4 participant in that, and validation of good quality  
5 design.

6           There are some future changes that we think  
7 that the program is ready for. We've usually talked  
8 about this building or that building, but I think  
9 that -- and often, we've been assigned projects --  
10 one of the things that we're going to be looking for  
11 is a pre-workshop planning meeting to allow us to  
12 focus our efforts, not just simply on, "Here's a  
13 building, go for it," but actually, "Here's a  
14 building. Here's the stresses on that project.  
15 What do you want us to explore?" John, do you want  
16 to talk a little bit about that?

17           MR. WOODS: Yeah. I don't actually find it  
18 much different than I think the AE teams that are  
19 brought in to a design project. They sit down and  
20 go over the scope of work, and massage that thing  
21 with the program manager. This would be, really,  
22 sort of piggy-backing on top of that, so that the VE  
23 team leader has the right people on his team. Maybe  
24 a requirement that it's been vetted so much that  
25 this particular project doesn't need my ability as a

1 structural engineer.

2           So, it gives the team leader to hone down  
3 and come up with a better process, and I think when  
4 you do that, you'll improve the quality of the data  
5 that comes out of the study.

6           GENERAL WILLIAMS: Okay, thank you.

7           MR. KNOOP: Next. Life cycle cost is the  
8 huge issue here, and it's one that I don't think is  
9 going to go away, but it's going to become more and  
10 more a focus of these Value Engineering studies, and  
11 it's simple to say that the more that we focus on  
12 life cycle costs early in the process, in the  
13 design, your investment in design and your  
14 investment in construction will create a huge  
15 investment in the years to come, as the project and  
16 as the building -- throughout the building's life,  
17 and I think life cycle cost is one of the biggest  
18 subjects that we will have in our studies. Next  
19 slide.

20           MR. WOODS: Okay. Future possibilities  
21 with VE, and all of you can read them, but the two  
22 that I know of specifically are -- the FEBR windows  
23 provides an interesting thing because right now  
24 you're buying the windows from a contractor and  
25 supplying them to the design/build teams. I happen

1 to know the design/builder absolutely loves that  
2 because there's no -- it takes away some of the lead  
3 time, knows what it's going to cost. However, there  
4 are projects now where we're beginning to see that  
5 it might be worthwhile to have a different type of  
6 window on one face, based on the setbacks. There  
7 are also some interesting things with potential  
8 different sizes.

9           It's impossible, without having a team sit  
10 down and explore both the schedule timing, the pre-  
11 purchase, versus having the flexibility of using  
12 something that doesn't cost as much on the project.

13           The other thing that all of us are dealing  
14 with because some of it goes back to personnel, are  
15 the general conditions, the bidding, and the  
16 insurance. It reminds me a little bit of when we  
17 talk about the Federal budget, that a certain  
18 percentage of it is entitlements, and it's very  
19 difficult to do anything with that. The general  
20 conditions bidding and insurance is now becoming a  
21 significant percentage of each project.

22           MR. KNOOP: Another area where I think --  
23 and these studies should be staffed by people who  
24 are specific experts in these areas. For instance,  
25 an FEBR study might include a window manufacturer as

1 one of the members of the team. We need to know  
2 from the factory floor to the installation, what are  
3 the different value components to that specific  
4 subject? Also, maintenance and operation and  
5 facilities management; we need to get a facilities  
6 management officer on board on some of these  
7 studies, specifically looking at what happens when  
8 all this stuff gets out in the field. What is that  
9 \$10,000 part that they removed from the HVAC system  
10 after 60 days after they opened the embassy, and  
11 replaced it six months later? Those guys will tell  
12 you what the life of this building is, and can be an  
13 extremely good resource for exploring value.

14 Other issues might be chem/bio, lighting,  
15 some procurement issues. Those are all rich subject  
16 matters, not building-specific, but they affect the  
17 overall building program.

18 Building a database, and I think that's  
19 what Kathy is really starting to do, is looking at  
20 how the program is maturing, looking at Lessons  
21 Learned from the trips, recordation of all the  
22 various types of savings. Building a good database  
23 is extremely important in understanding how  
24 effective a program is, and Kathy is already  
25 beginning to do that.

1           Other programs look at savings and cost  
2 avoidance. Program coverage, and Kathy's talked a  
3 little bit about how effective the program has been,  
4 projected savings. But also, qualitative  
5 measurements are very important, and I think we're  
6 starting to push into that subject matter, as we are  
7 a support group towards quality.

8           Design excellence, we want to be a support  
9 to great architects like the one down the table from  
10 me, and we want to make sure that you're getting a  
11 good return on your investment, and recording is  
12 another way to be able to look at that.

13           So in conclusion, you have a successful  
14 program that's maturing. You have done many  
15 cutting-edge items, such as these trips. They've  
16 been very effective, and you're showing us real  
17 progressive management of the program. The VE has  
18 been used as a positive tool towards affecting the  
19 SED program. We see the SED changing, and we see  
20 the SED changing with elements we've suggested in  
21 study after study, which -- whether that be the only  
22 impetus, we know that it is a successful  
23 contributor. It compares very well with other VE  
24 programs, and we've looked at the Corps, and we've  
25 looked at the Navy, and you guys have got a very

1 strong program with an enormous return on your  
2 investment, and I think that there are strong future  
3 developments ahead of your program, and with that, I  
4 will just say it's a pleasure to be a contributor to  
5 this panel, and I hope that has given you a good  
6 report.

7           GENERAL WILLIAMS: Good. Well, I  
8 appreciate that very much. This particular  
9 treatment was to -- we've felt we were okay on the  
10 VE side. We have presented this once or twice  
11 before, but we really wanted to have sort of a  
12 quasi-assessment of it, so we could continue to go  
13 down this path. Five years ago, we didn't have VE  
14 where it is now. It's in Planning. Kathy has done  
15 a terrific job of leading it and getting it sorted  
16 out and getting it hooked up well with the industry,  
17 so if there's a burning thought to be added, okay.  
18 Otherwise, we've got our report cards, so I'm  
19 prepared to just leave that one and move on in a  
20 different direction. Okay. Thank you very much,  
21 panel, for your wonderful work.

22           We move now to our number four for the day,  
23 and that's -- and thank you, Kathy. And this will  
24 be BIM; we're going to revisit BIM, and we have a  
25 whole team led by Brian Schmuecker, and Clare and

1 Suman are going to participate as well. Okay,  
2 Brian?

3 MR. SCHMUECKER: Thank you, General. Good  
4 afternoon. On behalf of the OBO Champions, I'd like  
5 to thank the panel in advance for your insights and  
6 recommendations. We had some good discussions on  
7 the phone, via e-mails, and we look forward to the  
8 feedback at the end of our presentation.

9 While the BIM initiative is managed through  
10 the design and engineering building innovations  
11 program, BE actively engages our colleagues  
12 throughout OBO to look for opportunities in  
13 leveraging this inter-operable platform. We see the  
14 success of BIM as predicated on the ability to meet  
15 the needs of each stakeholder. That is true for  
16 OBO, and we suspect this is true for the industry as  
17 a whole.

18 If you recall, in February, we posited that  
19 the relationship between BIM and facilities  
20 management was tentative, at best. In fact, we  
21 described BIM as, "An attractive young technology in  
22 search of a mature, stable industry looking for a  
23 long-term relationship." As we look back on the  
24 progress over the last 10 months, we think it's time  
25 to change that analogy. With the rapid rate of

1 BIM's evolution, it's probably more like speed  
2 dating than it is a personal ad. And at the end of  
3 today's presentation, I think you'll see why we're  
4 attracted to the flexibility of a cost-loaded shred  
5 (ph.) tool like DProfiler, the attention to detail  
6 features of laser scanning, and the long-term  
7 prospects of COBIE.

8           But first, we're going to revisit the  
9 concept of Building Information Modeling. This is  
10 becoming the bread and butter of the  
11 interoperability platform. This is a picture from  
12 CAD Microsystems that shows how inter-operable  
13 building data is used to produce specific products  
14 needed by the respective stakeholders. As you can  
15 see, it's more than just a 3-D tool. As we  
16 mentioned in February, a BIM model can host 3-D, 4-  
17 D, energy analyses, and co-checking, just to name a  
18 few opportunities.

19           For OBO, this is how we envision adapting  
20 and managing BIM. The top line represents the model  
21 itself; the bottom line represents the project  
22 phase, and the middle box represents the products we  
23 need as OBO stakeholders.

24           As with any technology, there are early  
25 adopters; in our case, there were two early efforts



1 on BIM: One initiated by OBO, and one initiated by  
2 one of our design/build contractors. While we felt  
3 pretty good about those early efforts, a recent  
4 report by McGraw-Hill projects that by the end of  
5 '08, the number of owners using BIM on a moderate to  
6 significant amount of projects, could easily outpace  
7 those who are minimally invested, thus suggesting  
8 that we are nearer Malcolm Gladwell's definition of  
9 a tipping point.

10           Since 2005, we have developed several more  
11 models. These are early efforts, and they have a  
12 certain degree of architectural maturity, but lack  
13 some of the engineering data that we see will be  
14 essential to BIM's success, and we'd be interested  
15 to find out if that's what the industry has seen, as  
16 well.

17           At the first table of our speed-dating  
18 analogy is DProfiler. In essence, this is a shred  
19 tool that facilitates early planning decisions. It,  
20 in some degrees, picks up on what Kathy Bethany  
21 talks about, making early decisions and studying  
22 early options before you get down the road.

23           Patrick McLeamy, from HOK, has produced a  
24 couple of compelling slides that illustrate the  
25 advantages of a planning tool such as DProfiler. In

1 essence, what Mr. McLeamy is saying is that as you  
2 progress through a project, your ability to foment  
3 change is inversely proportional with the cost  
4 associated with that change.

5           So, a tool that can provide an interactive  
6 response to planning decisions would be an immensely  
7 helpful product. If you can move the design  
8 decisions to the peak in the blue line, you will  
9 have a much better project definition well ahead of  
10 the traditional process, and this is what DProfiler  
11 facilitates.

12           Here is a snapshot that conveys the  
13 interactive nature of the tool. This is a model of  
14 the standard, secure mini-compound. It is a scaled-  
15 down version of the Standard Embassy Design. You  
16 can push and pull this model, and it reacts by  
17 adjusting your billet quantities, since the unit  
18 cost data is loaded into it. This ability to see  
19 real-time impacts as you construct the model is  
20 tremendously helpful and very informative.

21           With a tool like this, we have found the  
22 ability to manage change is greatly enhanced. You  
23 can evaluate a number of options and brainstorm  
24 alternatives. Our projection, however, is that this  
25 may not shorten planning time, but rather, like CAD

1 did when it was adopted, permit the study of  
2 additional iterations within the same timeframe, and  
3 we'd be interested to find out if the industry has  
4 the same findings.

5           So at table number two is laser scanning.  
6 While this technology has been around for a while,  
7 it's only recently been possible to convert that  
8 data into a Building Information Model, and this has  
9 intrigued us for two reasons: Newly acquired  
10 properties, and as-built or existing condition  
11 surveys. While DProfiler is a natural for our  
12 capital planning program, we see laser scanning as  
13 being particularly useful for our non-capital side,  
14 where we do our major rehabilitation efforts.

15           We initiated a pilot study for a newly  
16 acquired facility in Guayaquil, Ecuador. This  
17 property consists of four and a half hectares, with  
18 six buildings on it, and the main building is 4,400  
19 square meters. The effort, the survey effort,  
20 required four people with three scanning setups,  
21 working 12 hour days for 14 days. During that time,  
22 they collected 320 point clouds, this representative  
23 sample here, which was then loaded into a CAD file  
24 and eventually imported into BIM software.

25           Once there, the model was finalized and

1 checked for interferences. The resulting product is  
2 very similar to what we illustrated with DProfiler.  
3 Now, I must caution that this one doesn't have the  
4 cost-loaded data in it that DProfiler does, but  
5 otherwise it has the same interactive capabilities.  
6 We found it quite interesting that we reached almost  
7 the same point with highly different technology.

8           The final model consolidated the individual  
9 components assembled across the entire site. The  
10 tree canopies were included so that we could include  
11 site lighting and camera coverage requirements, and  
12 the tolerances of the entire product across the site  
13 is three millimeters.

14           And our last table is the construction to  
15 operation building information exchange, or COBIE,  
16 as it is known. This tool is designed to organize  
17 and maintain building data for use by Facility  
18 Managers during occupancy.

19           Project handover data typically gets  
20 gathered at the end of the job. This is an  
21 inefficient way to do it, and since most of the  
22 information was generated earlier in the process,  
23 the time it takes to retrieve and recreate it is  
24 costly. COBIE is designed to help collect the data  
25 on the fly.

1           It is designed to ease retrievability, and  
2 as we mentioned in February, industry studies  
3 suggest that up to 40% of maintenance time is spent  
4 revalidating information. The COBIE data collection  
5 is based on standard spreadsheet format, which is  
6 widely used and understood by the industry, and does  
7 not require a high level of expertise.

8           Currently, the options for BIM-based  
9 facility management software, though, are extremely  
10 limited. At the rate of change BIM is fostering in  
11 the industry, though, we expect to see some solid  
12 products in the next couple of years. To position  
13 ourselves for that time, we have adopted the COBIE  
14 spreadsheets as the starting point.

15           This time, we see this data transfer will  
16 simply be done by CD, but down the road, we expect  
17 this to be a web-based product. We see COBIE as a  
18 win-win solution, and in fact, have held training  
19 sessions with our in-house staff, as well as our  
20 design/build contractors, to ensure there's a  
21 thorough understanding of the benefits, the  
22 challenges, and to confirm our assumptions. Since  
23 we did not find any case studies for COBIE, we  
24 parlayed one recently completed project to validate  
25 the tool and to refine the requirements before we

1 incorporated them into our contracts.

2           So, what have we learned, and where do we  
3 go from here? When it comes to technology, there is  
4 no "One size fits all" solution, but rather a series  
5 of interrelated solutions, and each of these  
6 technologies has particular utility to OBO.  
7 Following the Director's guidance in '06, we  
8 completed business partner surveys, developed these  
9 three case studies, and incorporated some base BIM  
10 requirements into our program.

11           For FY '07, we focused on the base BIM  
12 model and several readily deliverable reports, to  
13 include walkthroughs, renderings, clash detection,  
14 quality control reports, and the COBIE spreadsheets.

15           As you can see, in '07, our primary focus  
16 with regard to the BIM model was on the  
17 architectural elements, based on the maturity of the  
18 software available at the time. Our eyes are wide  
19 open, however. There is still a lot to be done on  
20 behalf of the industry, the vendors, owners like  
21 OBO, and contractors. There needs to be continued  
22 progress towards a national BIM standard. For OBO,  
23 we need to continue to focus on providing solutions  
24 that meet our needs, and not necessarily those  
25 things that are merely attractive. We need to

1 continue to have an aggressive training program, a  
2 commitment in infrastructure necessary to make this  
3 happen. We need to integrate more engineering  
4 disciplines, and lastly, the maturity of the  
5 software, by incorporating Lessons Learned and  
6 industry best practices.

7           Our path forward includes these five  
8 bullets, and at this time, we find the most  
9 challenging and yet most important element is the  
10 fourth bullet, and that is to adapt new processes.  
11 We appreciate your thoughts on this as well.

12           So, our trajectory right now looks like  
13 this. Architectural models in '07, some basic  
14 features, structural models for '08, and adding to  
15 our objects libraries, and pushing towards a full  
16 BIM model by FY '09. We recognize this may have to  
17 be adjusted as we in the industry get used to this  
18 new technology.

19           So, in summary, it's been a busy year, and  
20 we feel pretty good about the progress we've made.  
21 We've advanced the base BIM concept, which priorly  
22 at this time supports the design and construction  
23 phases. We've found tools like DProfiler suitable  
24 for the capital program, and with 3-D laser scanning  
25 helping out on the non-cap side. And for O&M, we

1 see COBIE as the launching point.

2           And at this time, I'd like to open the  
3 floor to the other OBO Champions, see if they have  
4 any final thoughts before we turn it over to the  
5 industry Champions. No? Okay.

6           GENERAL WILLIAMS: Okay, Brian, thank you.  
7 We're going to go to the industry side, and then  
8 we'll have some chat.

9           MS. ARCHER: Thanks, General Williams, and  
10 industry colleagues. I'm excited that we have the  
11 opportunity to talk about BIM again. I know that  
12 one of my colleagues, John Brotti (ph.), from Clark  
13 did a pretty comprehensive presentation in January  
14 that walked through how BIM is being used in our  
15 industry, sort of standard practices, so I don't  
16 really want to engage in that again. What I wanted  
17 to do is talk about how our industry, particularly  
18 from the construction side, is addressing and  
19 adopting BIM technologies, what AGC is doing to sort  
20 of advance that process. Where is BIM going? Sort  
21 of outside of traditional coordination and clash  
22 detection, and how far away is that from today, and  
23 then finally a couple of challenges and issues that  
24 we're all going to have as this is implemented.

25           I think we can all say that BIM is probably



1 the most interesting and innovative tool that we've  
2 seen in our industry in quite some time, maybe since  
3 the implementation of CAD. If the agendas of our  
4 AGC conferences in the past three years are any  
5 indication, that's one of the main things and one of  
6 the only things that our membership wants to talk  
7 about, and is pretty engaged in right now. I think  
8 my company, Gilbane, is probably a good indication  
9 of our membership, and three years ago, I would say  
10 that any projects utilizing BIM were pretty much  
11 negligible, and today we're at the roughly 10 to 15%  
12 of our projects, including public and private  
13 sector, are using BIM. And most of them are using  
14 it in sort of a standard application like John  
15 walked through in January, but that's starting to  
16 change a little bit too, and I'll talk a little bit  
17 about that in a minute.

18           A colleague of mine from HOK mentioned that  
19 Autodesk had a statistic that around 5% of the  
20 architects are utilizing BIM fully right now, so I  
21 think that gives you a snapshot of where our  
22 industry is. We're past the early adopter stage,  
23 but we're still kind of climbing up the learning  
24 curve as an industry, and our membership is hopeful  
25 that owners understand that owner are driving the

1 process for this right now, just like IAQ, and you  
2 mentioned it as well, and one of our concerns is our  
3 ability to catch up to your expectations, and for us  
4 all to understand what the impact of BIM usage is to  
5 schedule and budget on projects.

6           AGC has really taken a leadership position  
7 in BIM implementation in our industry. We've got a  
8 couple of initiatives that have been launched in the  
9 last couple of years. The bottom to the C3T task  
10 force and the 3XPT strategy group are groups that  
11 are small working groups that are collaborative  
12 efforts, mainly between us, Kurt, and AIA to develop  
13 some standards, but the one that I want to talk  
14 about a little bit more, that I think is pretty  
15 interesting and you might want to engage in, is  
16 what's called our BIM Forum, and it's a -- it was  
17 created out of our Private Industry Advisory Council  
18 to facilitate and accelerate the adoption of BIM in  
19 our industry. It's organized around an interactive  
20 website and chat rooms and so forth, but if you go  
21 to the next slide, hopefully you can read this, but  
22 this is the organization of our BIM Forum. I think  
23 the interesting thing about is, in addition to this  
24 website, it's made up of a bunch of working groups  
25 that are not exclusive to AGC membership. They

1 include -- we have a user sub-forum that's mainly an  
2 owners group that's led by Chuck Hardy. I don't  
3 know if any of you know him, but he's from the  
4 General Services Administration. He leads their  
5 design and construction out of, I think, it's Region  
6 V in Chicago. He's engaged in it.

7           We have a legal team that's looking at the  
8 legal issues that continue to swirl around ownership  
9 of design, and they've been coming up with a  
10 contract rider that addresses that. An emerging  
11 leader sub-forum that kind of reaches out to the  
12 young folks that are coming into our industry, and  
13 sort of looking at taking BIM to the next level, and  
14 then maybe most important, on the left, is a process  
15 mapping task force, which is taking people out of  
16 the design and construction task force and talking  
17 specifically about, "How do we standardize the  
18 information in the models?" and "How do we make an  
19 easier transfer of digital information from -- or  
20 virtual information from the design team to the  
21 construction team?"

22           And that's something I think that we're all  
23 facing right now, and they're making some great  
24 strides, and as it's an open forum, it may be  
25 something that OBO would want to participate in, and

1 are welcome to.

2           BIM moving forward, getting beyond clash  
3 detection, or getting beyond what our sort of  
4 standard application is right now. A lot of firms  
5 are looking at moving BIM into the front end of the  
6 project, and the back end kind of like you're doing,  
7 or had talked about. For example, we've got an  
8 internal tool that's similar to D-Profile. We call  
9 it Cost Advisor, and it's basically a sophisticated  
10 cost modeling exercise that clients can use during  
11 the programming phase to look at options, and if  
12 they change certain building systems, how it will  
13 impact price. Our cost data is a little different  
14 than yours, as we talked, but it's the same kind of  
15 concept. Right now, we're working to match that, or  
16 connect that, to BIM modeling, so you can at least  
17 create sort of a blocking and stacking diagram out  
18 of it. But frankly, talking to folks in our arena,  
19 we still think that's about two years away. We're  
20 sort of in an infancy in it, but it certainly isn't  
21 ready for practical application yet.

22           Conversely, we're finding that marrying BIM  
23 with the back end is moving along a little more  
24 quickly. A couple of our in-house BIM experts told  
25 me there was a software released two weeks ago that,

1 I guess, came out of ArcoBUS that creates a way for  
2 ArcoBus to talk to Revit, so that you can take a  
3 living as-built, or create a living as-built, BIM  
4 as-built, that's populated with all the data that  
5 you need for the ArcoBUS system in facility  
6 management. At the end of the project, just be able  
7 to load all of that data directly into your Catam  
8 (ph.) system. I don't know if WOW would -- if that  
9 would work with WOW, but it's something that's  
10 happening. We have a client, SC Johnson, that's  
11 asking us to do it right now, and we're going to be  
12 implementing it on a 50 million dollar job in  
13 Wisconsin, but it's a test pilot project, so this is  
14 all sort of in its infancy, and it kind of goes back  
15 to the "We probably need to learn to walk before we  
16 run," but, you know, everybody's definitely trying  
17 to take BIM to the next level.

18           So, the technology is definitely coming,  
19 but we're at the front end of it all. We're also  
20 using BIM for energy analysis. I think someone was  
21 talking about that this morning. NIST has a test  
22 bid going right now on how that works, and how we're  
23 able to keep the data secure and not lose data as  
24 it's transferred between the BIM model and the  
25 energy analysis program. I guess that's a concern,

1 so people are looking into that right now.

2           And then, my last item, I just wanted to  
3 throw in there and maybe because it's cool and  
4 contemporary as we were talking about earlier, is  
5 one of the leading-edge concepts that a couple of  
6 young folks have mentioned to me is, incorporating  
7 gaming technologies into BIM. So, it's essentially  
8 kind of creating a more sophisticated version of a  
9 fly through, where you're either wearing an  
10 apparatus that allows you to virtually be inside a  
11 site and walk around it, or do it kind of via video  
12 game, which, you know, talking to my colleagues,  
13 it's hard to sort of envision a practical  
14 application of that for all of us, but you know,  
15 hey, maybe it's a recruiting tool, and you know,  
16 maybe we'll all be talking about how terrific a  
17 technology it is.

18           But at any rate, that's sort of where  
19 things are going. Moving quickly to challenges, I  
20 wanted to talk about a couple of just global  
21 challenges, and then two that have -- some of our  
22 members have mentioned to me, specifically related  
23 to the OBO program.

24           I think one of the biggest challenges we're  
25 all facing is the legal challenge of BIM, and

1 there's no case law really right now relative to BIM  
2 as a contract document, or liability issues, so it's  
3 all a little gray for everyone, and I know the  
4 industry is trying to move BIM from being a tool to  
5 eventually being a contract document. I think  
6 there's certainly a long way to go from that  
7 perspective. AGC is producing a draft contract  
8 rider right now that is hoping to be finalized in  
9 2008, and it sort of at least takes the first step  
10 in outlining who the participants who should be, how  
11 data should be exchanged, and kind of try to move  
12 towards looking at whoever the party is that's best  
13 able to manage the risk, should be the one to manage  
14 the risk.

15           So, one of the biggest issues in that rider  
16 is ownership of the documents, and that's still  
17 being ironed out right now, so I suspect first or  
18 second quarter we should be able to see something  
19 come out, and it will probably be of interest to  
20 you.

21           Process mapping is the other issues I  
22 already talked about that is a big issue, and you  
23 might want to talk about it too. How do we get on  
24 the same page as far as what information needs to be  
25 incorporated, and how it's incorporated into BIM.

1 And then, relative to OBO, one of the issues that  
2 came up was relative to SBU documents, and I guess  
3 there are new guidelines that require them to be  
4 considered as classified, so how will that work in a  
5 BIM environment if a floor plan is an SBU document,  
6 you know? I think there may be some challenge  
7 there. That might be something you start to think  
8 about.

9           And last but not least, from both the  
10 design and construction side, there's discussion  
11 about this being a time-consuming process, building  
12 the BIM model, and your program is an accelerated  
13 program, and time is of the essence, so there are  
14 some schedule challenges relative to implementing  
15 this more fully, and just a hope that the owners  
16 will be sort of cognizant of that as more and more  
17 requirements are expressed from the OBO.

18           GENERAL WILLIAMS: Okay, thank you, Clare.  
19 Okay, Suman?

20           MS. SORG: Yes, okay. You know, a couple  
21 of weeks ago, the New York Times published the "100  
22 Best Ideas for '07," and one of the ideas was  
23 generated by UPS, which discovered that if their  
24 trucks did not make any left turns, they would save  
25 millions of dollars on gas. And so they developed a



1 computer program which helps them make a third less  
2 left turns on their truck routes by changing their  
3 starting point, or changing their route as to how  
4 they get there. And so, I'm always in my business  
5 looking for -- avoiding left turns, but they're  
6 always there, and one of the things that we're  
7 seeing is that -- and I agree with everything that's  
8 being said, that we are in the infancy of the BIM  
9 model. We also don't have -- there's a big lag  
10 between the architects and the engineers, and all  
11 that is going on, but one of the things that  
12 happened to me on the BIM is, you renew your  
13 insurance every year in January, and I filled out my  
14 insurance form, and one of the questions there was,  
15 "Do you use BIM?" And I said, "Oh, yes," thinking  
16 that would be a big savings in insurance.

17 (Laughter.)

18 MS. SORG: But that's not the case, so my  
19 insurance premium went up. So I called the guy, my  
20 agent, I said, "What's going on? I thought that was  
21 going to reduce errors, it was going to make me --  
22 sort of making changes easier, and it was going to  
23 save errors, and why are you raising my insurance?"  
24 And basically, there's so much unknown like who owns  
25 the drawings, who can change your drawings, how will

1 you fight the liability if somebody does -- and so  
2 my insurance went up based on that.

3           But we're, you know, excited about it. But  
4 then I also looked at the money that we are spending  
5 on -- in my firm, which is, you know, a medium-sized  
6 firm, on BIM, and the time, and it's adding up, and  
7 this year we estimate 3% of annual revenue going  
8 into developing the system, paying for training, but  
9 we're not seeing the fees going up. Time is one  
10 thing, but fee from the builder, design/builder is  
11 not coming in on this. So, there's unfortunately a  
12 stress on small business and -- in architecture, no  
13 matter how big you are, you are small, and you know,  
14 I think that's really got to be paid attention to.  
15 So, that's a left turn we hadn't anticipated, and I  
16 hope that there's something that can be done, but --

17           GENERAL WILLIAMS: Thank you. Questions  
18 for the BIM team. Now, you know we were here about  
19 11 months ago. It was early in the year. We did a  
20 pretty good workup of BIM, but because of some of  
21 the good issues that have been raised today, good  
22 points, actually, we now sort of see a path for us,  
23 a little blurred, but we still see a path which we  
24 didn't have eight or nine months ago in terms of  
25 where we might want to go. And then, of course,

1 having the opportunity to benefit from your comments  
2 concerning some warning signs because the truth of  
3 the matter is, there are some legal issues with  
4 this, and I think everyone knows, who operates in  
5 this business, that at some point in time, documents  
6 are requested, and you have to produce them, and  
7 that gets to the SBU side, and how they're protected  
8 and so on. And it has an IT implication and all of  
9 that, so there are some issues that are not sorted  
10 yet, but we feel that we'll let the legal side of it  
11 sort that out, and we'll try to take advantage of  
12 these forums and everything else, and continue to  
13 grow.

14           Our path is not an accelerated one. It's  
15 to kind of get us at some landing spot in FY '09,  
16 and I think that's going to take us that time to  
17 work through all of this. But we're serious, we've  
18 been after it now, as Brian said, a year-plus, and  
19 it's a part of our culture going forward. So, we  
20 will continue to work at it. Are there some  
21 comments? Greg?

22           MR. KNOOP: The question is, what is OBO's  
23 plan? Are you intending, in the future, to have the  
24 feasibility level design that gets handed out in the  
25 bridging documents and the SED completely on a BIM,

1 so that the design/build team really has the hard  
2 tool to begin with, versus some starting -- the  
3 starting from scratch is really what most of us are  
4 finding is where we take a pounding on fees. We  
5 really -- it creates a lot of loss for us.

6 MR. SCHMUECKER: Ultimately, it's probably  
7 going to go one of two ways. Our vision is one of  
8 two ways: It will be a BIM model we initiate, we  
9 hand over to the design/build contractors for use  
10 during the design and construction phases, who then  
11 turn it back over to us for use during operations  
12 and maintenance, physically or -- viability.

13 The other one we see is it might be web-  
14 based, that everybody goes to, and it becomes a lot  
15 more -- complications on the legal side, of who owns  
16 what piece of that, so that it's really even more  
17 interactive than it has the potential to be from a  
18 handoff standpoint.

19 So, to answer your question, yes, we do see  
20 that as the end of the road, or as far as we can see  
21 at this point. We're not in a position to do that  
22 yet, obviously, but absolutely, that's the whole  
23 reason we would want to get into this capability of  
24 having this inter-operability.

25 MR. KNOOP: But the intention is that the

1 bridging documents that you'd be handing over to the  
2 design/build teams would at least have a lot of the  
3 initial work done, to give them a running start --

4 MR. SCHMUECKER: Absolutely. It'd have the  
5 object libraries already set up. A lot of the stuff  
6 that is currently in the test would already be  
7 linked to the specifications going to the other  
8 criteria in the contract, even linked to the codes.

9 MR. TOUSSAINT: Let me be old-fashioned for  
10 a second, and I'll jump back in the box. I'm  
11 hearing a term that's making me very nervous; it's a  
12 term I haven't heard for some years, it's called  
13 "bridging documents." I'm going back to the RFP,  
14 and I'm hearing Value Engineering and the  
15 interesting discussion we had. At one time, we did  
16 Mission Impossible; we had Value Engineering occur  
17 during the design stage of the design/build  
18 contract, which was very unorthodox, but we did it.  
19 Then, we moved Value Engineering into Planning so  
20 we'd stay out of that arena. We do the front-end  
21 Value Engineering, then we give a clean RFP, a.k.a.  
22 bridging document, a clean RFP to the design/build  
23 contractor, who would be responsible for the design  
24 and construction of the facility, according to the  
25 terms and conditions of that RFP.

1 I've heard terms like "design team" working  
2 at the Value Engineering stage. That means to me  
3 that I've got a design team working during Planning,  
4 and I've got a design -- I don't know who owns the  
5 design. So, this legal stuff, this is where we're  
6 going, we're saving 10% by the Value Engineering  
7 effort on the design, at the Value Engineering  
8 effort at the planning stage. I want to get to a  
9 contract that gives to a design builder who will  
10 warrant the design; then, we can talk with that  
11 design/builder over who owns that. But I want to  
12 make sure that we at least get in here some of the  
13 dynamics and discussion about how this process is  
14 working, and I think we're doing this on the fly  
15 now, but it sounds to me like we create some work at  
16 the beginning, we do some planning work which  
17 generates, you know, Value Engineering ideas. As  
18 far as I'm concerned, you can validate the Value  
19 Engineering after contract award with the initial  
20 100% design presentation. You don't have to go to  
21 the site now. You can see what the actual contract  
22 has produced, and if you want to, after the fact, go  
23 to see whether that was delivered, that's  
24 interesting, but the design occurs actually after  
25 the contract design build award occurred, right?

1           MR. SCHMUECKER: Okay, I'll try to put you  
2 at least a little, Joe.

3           MR. TOUSSAINT: Help me out of this.

4           MR. SCHMUECKER: Okay, fair enough. I  
5 jumped ahead to the idea of bridging documents being  
6 what we currently put in JE-3 of the contract, okay,  
7 which is a series of site-specific plans,  
8 specifications, division one, and so one. A lot of  
9 that information does end up getting synthesized by  
10 the design/build contractors into the solution, but  
11 what we're delivering right now is a series of  
12 individual files with independent information that,  
13 I think, we have the opportunity to link together to  
14 assist them during the design and construction  
15 phases.

16           So, if I led you down the primrose path  
17 where bridging was something different than that, I  
18 didn't intend to.

19           MR. TOUSSAINT: I don't know if it was  
20 primrose, but it was a briar patch.

21           (Laughter.)

22           GENERAL WILLIAMS: Yes, go ahead, Bill.

23           MR. FLEMMING: Just a few comments. First,  
24 this definitely fits in -- I congratulate you on  
25 creating another controversial topic that will take

1 a long time --

2 (Laughter.)

3 MR. FLEMMING: The next thing is, this  
4 definitely fits into -- what was this gentleman's  
5 "Cool and" --

6 GENERAL WILLIAMS: Contemporary.

7 MR. FLEMMING: -- contemporary --

8 MR. NORMAN: I'm infamous now, by the way.

9 (Laughter.)

10 MR. FLEMMING: -- one of the things I've  
11 noticed about this particular topic is, people  
12 sometimes lose sight of what we're trying to do by,  
13 whether you call it a BIM model, or I like the term  
14 "virtual design and construction," VDC, which is  
15 another terminology, but it's basically the same  
16 thing, but we often lose sight of what we're trying  
17 to do here. We're trying to have an integrated  
18 approach to design, planning, and construction, and  
19 I hear design firms talk about, "I'll do a BIM  
20 model," and oftentimes it's nothing more than a 3-D  
21 model. It doesn't link the schedule, the cost, and  
22 the manufacturing together, and all I was going to  
23 suggest you may want to do is make sure you have a  
24 strategic plan on what you're trying to accomplish  
25 here because unless you link the manufacturing into



1 this process, you are not going to save cost. And  
2 the cost is in squeezing the delivery time of the  
3 whole product down. And one thing that I would  
4 suggest you look at, that I see used quite a bit in  
5 Europe, and we're doing it on some healthcare  
6 facilities, is radio-frequency tags on all major  
7 pieces of equipment that go into the facility, so  
8 that you can track when they're manufactured, where  
9 they're at in the delivery process, have they been  
10 installed? You can pull up with a tablet computer  
11 for the facilities group later what the product is.  
12 It links information flow together, and I see a lot  
13 of people run off on this, "Let's have a 3-D design,  
14 and let's put some estimating quantities in it," and  
15 they don't think about linking all of that together.  
16 So that may be a suggestion that I might make that  
17 you'd want to think about.

18           GENERAL WILLIAMS: Well, Bill, I might say  
19 this, that when we launched this, and the few people  
20 in the room when we did, we were taking that  
21 strategic, holistic approach so that we wouldn't  
22 leave any piece behind because we know that we can  
23 always go down just the design side and end up  
24 somewhere, but we were interested in making certain  
25 that once we got all this pulled together, that we

1 essentially had that integrated result. So, we're  
2 with you, and so -- and there's still work to do,  
3 you know? We just got ourselves focused and headed  
4 someplace, and you make a good point. But that's  
5 not different from where we started. Yeah.

6 MR. WOODS: One of the things, and I'm  
7 going to go back to what Joe was saying. I'm the  
8 old guy, and I learned the terms that you use  
9 sometimes are dangerous. I made the mistake of  
10 talking to the person at GSA who is implementing it,  
11 and I said, "We, as small firms, really would like  
12 to know what platform you're going to use." He  
13 immediately, correctly, responded, "We don't care  
14 what platform you use." And that's right because we  
15 each buy different software.

16 I know -- I think this is all being done  
17 through the Federal Facilities Council, but we would  
18 like very much, as the small firms, for the Federal  
19 Government to adopt a single standard. The Corps,  
20 unfortunately, to the chagrin to the many of us,  
21 went out and had Bentley sell them a number of  
22 licenses for a million bucks. That may be the  
23 standard. It may not. We are very much accustomed  
24 to, when we receive the RFP, that the deliverable is  
25 to be in AutoCAD 2005. That, from a small firm

1 standpoint, that's what we would like to see,  
2 whether we work for OBO, GSA, the Corps. That way,  
3 we only train our people around what the majority of  
4 our clients are going to call for.

5           GENERAL WILLIAMS: Okay. Very good. Yes,  
6 Nancy?

7           MS. GOSHOW: We are fully into BIM, and the  
8 big thing for us is the scheduling. Our clients  
9 don't have enough time to wait until we get the  
10 model fully into construction documents, so on  
11 several jobs we've gone through DD, then had to  
12 switch back to AutoCAD from Revit because there just  
13 wasn't enough time to make it all work. And correct  
14 me, other architects on the panel, there's another  
15 thing in BIM called Worksets in Revit. I don't know  
16 if you know this, and it's great for one or two  
17 people working on a project that if you have a major  
18 project, let's say a 50, 60, 70 million dollar  
19 project like we have, we may need eight or ten  
20 people working on that project at the same time.  
21 Revit does not permit us to do that.

22           So, it's not set up for big teams that need  
23 to work very quickly, and that's the wall that we're  
24 running up against, so we get so far through DDs,  
25 then we have to abandon it.

1           And the other thing we found, and again,  
2 correct me if I'm wrong here because I'm asking the  
3 question as well as relating to you, all of the  
4 construction details are still done in AutoCAD in 2-  
5 D. So, it's a 3-D model for you to see how the  
6 model for you to see how the building is put  
7 together, and that's great, but you're still coming  
8 out with 2-D construction documents, and until that  
9 is changed, I mean, we could give you a sketch-up  
10 model that goes really fast, and we could do it  
11 inside and out, and you could see that, and that  
12 could be part of what you see, so everyone can see  
13 the building 3-D, it helps a great deal, but you're  
14 still going to come out with 2-D drawings.

15           The other thing is the MEP part of BIM,  
16 Revit, particularly, is just not up to speed yet.  
17 The structural is very far along, the architecture  
18 is fairly far along, but the MEP is very far behind,  
19 and that's the big coordination bollocks for  
20 architects and engineers, is coordinating that MEP  
21 work. So while we want to think three-dimensionally  
22 and work three-dimensionally, we still have to  
23 coordinate in a two-dimensional way because the  
24 major coordination is in an area where Revit is not  
25 there yet. There may be other programs that are

1 better, but that's my experience. I'm throwing that  
2 out there for other comments.

3 GENERAL WILLIAMS: Yes, here, and over  
4 here. Go ahead, Greg.

5 MR. KNOOP: The industry is going to have  
6 to shake this issue out because also, we're starting  
7 to take on -- our end of the information model  
8 building is only part of it. The contractor puts  
9 in -- needs to put in other information, in order to  
10 make that model parametrically complete. So who's  
11 responsible for that?

12 I see the future of a lot of work being put  
13 on the A&E team to set up the perfect model, and  
14 handing it over to a builder to go ahead, and no  
15 disrespect intended, but we have the people who are  
16 used to working on those platforms and formats, and  
17 it seems logical that we'd be doing a lot of the  
18 input. Well, there's a cost to that, and will the  
19 fees, and will the industry provide the fees, and  
20 the changes in the fee structure, to recognize that?

21 And legally, going back to the FAR, and the  
22 insurance industry, how do we keep clean from a  
23 responsibility standpoint?

24 GENERAL WILLIAMS: Let's go here, and then  
25 we're going to cut then, and move to something else

1 because this is a big subject, and we haven't talked  
2 about it the last time. We just want to touch it  
3 one more time to let you know we were moving in that  
4 direction, but there's a lot of unanswered issues,  
5 and you're touching them now, the operational side  
6 of it, which has to be considered in this whole  
7 process.

8 MR. SCHMUECKER: Yeah, just a couple of  
9 closing thoughts. We don't shirk from recognition  
10 that there's a lot yet that needs to be solved. In  
11 fact, the McGraw-Hill study said that there's a lot  
12 to be done. The MEP is lagging, but they also said  
13 they want the owners to drive it. The studies which  
14 concluded contractors and AEs, others involved in  
15 the profession, said they want the owners to define  
16 the requirements. And so, we think we're doing  
17 that. We are pushing it.

18 One thing I did not point out on one of the  
19 slides was in addition to the BIM requirements,  
20 we're still requiring what we required in '06, in  
21 the recognition that this is a rough road to go.  
22 Sketch-up will get us a lot faster on 3-D, but I  
23 don't think in three years we want to be doing that  
24 anymore, so yeah, we got to get started, and we got  
25 to start with the basics and get some good ground

1 rules in place.

2           GENERAL WILLIAMS: Okay. Thank you all.  
3 And we're going to move now to the final subject,  
4 which is commissioning and closeout. Rob McKinnie  
5 will lead that off for us, and Nancy and Clare will  
6 participate.

7           MR. McKINNIE: Good afternoon, everyone.  
8 We're moving on to the fifth topic, which is project  
9 commissioning and closeout. And if we move on to  
10 this next slide -- I'd like to first of all thank  
11 the two ladies that work with me, Nancy and Clare.  
12 There was a tremendous amount of energy, and thank  
13 you very much for the brainstorming and the sharing  
14 of information. And hopefully at the end of this  
15 session, we will have something to take home to work  
16 with until the next IAP session.

17           I'm very happy to be a part of OBO and the  
18 53 projects that were recently completed. As the  
19 Director of Construction and Commissioning, that's a  
20 major -- it's been a major challenge for us, and  
21 today's topic is talking about some of the  
22 challenges that are facing us, so that's what we're  
23 moving forward to look at. While we've completed  
24 these projects, we still keep in mind that we've got  
25 some things that we need to work on, and one of the

1 things that we've been working on is the  
2 commissioning process. Over the last year, we've  
3 changed our name, and we've moved into the  
4 commissioning mode more forcefully, and this will  
5 allow us to present a product to our customers that  
6 is much more successfully operable -- they can  
7 operate it and maintain it much more successfully.  
8 So, to take it to the next level, we will share some  
9 of the ideas that we're involved in.

10           If you go to the next slide, the security  
11 slide will share with you information and some of  
12 our concerns. We've got contractors that are  
13 installing certain systems in the building, and the  
14 infrastructure, the conduit of the runs (ph.), the  
15 boxes, and the like, at the same time, where the  
16 follow-on teams will make the connections to the  
17 security systems -- that is, the technical security  
18 systems. And in addition to that, we have teams of  
19 security personnel that are installing the systems  
20 in specialized areas of the building, so keep in  
21 mind these challenges as we talk about  
22 commissionings.

23           All of this is part of the final phase, or  
24 the commissioning phase, for us, of the systems of  
25 the building. We at OBO, that is, the construction



1 and commissioning portions of it, have the  
2 responsibility -- we have the lead for installing  
3 and supervising technical security systems, whereas  
4 our colleagues in Diplomatic Security are  
5 responsible for inspecting these systems; that's  
6 performing the final inspection. If you heard the  
7 Director's initial slide, or earlier comments on  
8 accreditation, very near the end of the project,  
9 that's when the diplomatic security team comes out  
10 and inspects the system for accreditation. They're  
11 confirming what we had designed is being installed,  
12 and it is installed as intended, and will function  
13 as designed.

14           Very near the end of the project, some of  
15 the challenges that we face are the fact that the  
16 Diplomatic Security requirements will change. The  
17 second part of that, the Diplomatic Security  
18 requirements, they're often new ones coming along.  
19 If we get new requirements, or change the  
20 requirements at the end of the project, we're forced  
21 to either look for solutions to the problems, or  
22 we're forced to approach the Diplomatic Security  
23 personnel for a waiver, which is not often very  
24 quick to happen, and very often, it's costly. So,  
25 those are some of the things that we are faced with

1 when it comes to accrediting the building and  
2 reaching that final security inspection.

3           The next system that we have on that same  
4 slide is the FEBR products. In recent -- we've been  
5 working over the last four years with the FEBR  
6 products in a special group, and fortunately for us,  
7 the General came along and introduced us to his  
8 concept of Government-procured equipment, and that  
9 package that we have is our forced-entry ballistic  
10 doors and windows. We've taken those products and  
11 we've standardized them. This has made a great  
12 difference to our program, and it's also saved us a  
13 tremendous amount of time with regard to delivery  
14 and overhead cost, and it's also a big help to the  
15 maintenance personnel who are actually maintaining  
16 these packages.

17           This has been very helpful us in recent  
18 months because the FEBR installers in that group  
19 were not within the construction family; they were  
20 in the security arena, so they were realigned to our  
21 office in the Construction and Commissioning  
22 Division. So that's helping us to get it right,  
23 which is our goal.

24           On the next slide, you'll see another  
25 system that we're faced with commissioning at the

1 end, and it's telecommunications. We rely heavily  
2 on the Design and Engineering Division, that's Bill  
3 Miner's group, to assist us and to provide the final  
4 inspection of the telecom infrastructure, and we're  
5 very happy to have them. Unfortunately, some of the  
6 problems that we face in the telecoms arena is very  
7 similar to what happens in the technical security  
8 systems arena: They come along near the end of the  
9 project, and they tell us that they've got changes  
10 or they need to make changes, largely, or they can  
11 say that many of the changes are due to  
12 technological advancements in the telecom arena. We  
13 have to face that problem.

14           Once we get to the point where we've gotten  
15 all of those changes reconciled and sorted through,  
16 we go through a follow-on inspection by our sister  
17 bureau in the Information Resource Management Group.  
18 They go forward then to install the telephone  
19 system, and they've got a certain timeframe that  
20 they've got to work within to set up installation  
21 and certifying the telephone system. That's  
22 actually the PBX and the handsets for the non-  
23 classified as well as the classified portions of the  
24 building. All of this is coming in at the end of  
25 the project, during the commissioning phase.

1           The other problem that we very often find  
2 is the telephone system in the host country. I  
3 won't get into the details of it, but you can  
4 imagine the telephone systems in some of the  
5 countries that we have to build in. We're  
6 negotiating installation of telephone lines for our  
7 facilities.

8           On the next slide is the building  
9 automation system, talking about some of the  
10 challenges that we face there. The Director said  
11 earlier, building automation systems are  
12 particularly sensitive, sensitive in more than one  
13 way. In every instance, it's the facility's  
14 management staff, the embassy staff, that's going to  
15 have to operate and maintain the systems once we  
16 transfer it to post. More than likely, the facility  
17 staff at post is coming from a low-tech society. In  
18 some cases, we've seen them come from maintaining 99  
19 split-pack (ph.) units to having to maintain complex  
20 chillers and air handling units the next day. So,  
21 the challenges are there for us.

22           The element's further complicated by the  
23 fact that the BAS system has an unclassified  
24 component and a classified component to it. They  
25 both have to be commissioned, and they both have to

1 have staff that can operate and maintain them, so  
2 that means that the local national staff, perhaps,  
3 for the unclass, but definitely a cleared American  
4 staff to maintain the classified portion of that.

5           The one part of the BAS commissioning that  
6 people forget about, or don't quite understand, is  
7 that the commissioning happens over a period that  
8 requires a pre-occupancy, an occupancy, and seasonal  
9 testing. We test it prior to occupancy; that's  
10 prior to the building that's occupied for certain  
11 set points. After its occupancy, within the first  
12 90 days, our contracts have a requirement to test  
13 it, and there are seasonal requirements whenever the  
14 host country has seasonal changes. We also have  
15 requirements for testing the BAS system, so when is  
16 the BAS complete? It's complete after you've done  
17 the pre-substantial completed testing, the pre-  
18 occupancy, it's complete when you've done the  
19 occupancy testing, and it's complete when you've  
20 done the seasonal testing.

21           This complicates the commissioning process  
22 for us because everybody wants it to be complete and  
23 fully functional, and they also want to be trained  
24 on it at the time of occupancy.

25           The other thing that I'd like to bring to

1 your attention, too, based on the BAS system, is  
2 that this is such a complex system that it requires  
3 a specialized type of training, and there are very,  
4 very few that are capable of programming the BAS  
5 system. There are very few people that are in the  
6 arena of going overseas and working in overseas  
7 environments to work on the BAS systems.

8           One of the more important things for us in  
9 the brainstorming sessions that we talked about was  
10 educating the recipients, or educating the people  
11 along the way, our intended occupants, of the  
12 complexity of the BAS system, and making certain  
13 that they understand what is involved in  
14 commissioning, and passing it on to post.

15           The next slide that we look at is the HVAC  
16 systems. Over the past few months, we've been  
17 challenged by some hiccups in our systems. We think  
18 we've got it right. The systems that we've had  
19 included a number of things ranging from design  
20 issues to manufacturer's defects to limited  
21 personnel to operate and maintain them, lack of  
22 available materials to bring them online, but we  
23 think we've got a path forward for that. And most  
24 of you have heard, or probably will hear, that we're  
25 moving from water-cooled, for the most part, to air-

1 cooled chillers thanks to the assistance and the  
2 work of our PE family, the Project Execution family  
3 members, and Design and Engineering, and in  
4 Construction and Commissioning that came together to  
5 resolve this problem for us.

6           The other point I wanted to make is that  
7 even with the HVAC system, once it's turned over to  
8 the post, there's also that question of being able  
9 to operate it and maintain it, so there's a training  
10 component that has to be done.

11           The next slide, fire alarm systems, the  
12 challenge there is to be able to make certain that  
13 we have commissioned it and turned it over  
14 successfully to the clients. Life/safety is an  
15 important element that we have for our facilities;  
16 in many instances, the projects that we do are in  
17 developing countries, where there are inadequate  
18 emergency services in the event of a fire, so we  
19 rely heavily on our buildings systems, the fire  
20 systems there to notify and to inform us of problems  
21 within the building. And just as we had problems  
22 with the FEER system, or complications with the FEER  
23 systems, we also have that with the fire alarm  
24 systems, but we haven't standardized our fire alarm  
25 system, so that has made it a much more workable

1 solution.

2           The biggest problem, I think, that we face  
3 in the fire alarm at the moment is the lack of  
4 certified installers. This is once again a  
5 specialized area of the construction industry.  
6 Looking for three certified people is not an easy  
7 task. They're out there, but we're all competing  
8 for the same resources, as we've talked about  
9 earlier. So, one person may not be available when  
10 we really need him because he's in one spot.

11           The next slide that we've got there brings  
12 the concerns to the table, that of power. Power  
13 systems are quite complicated for us, but under the  
14 Williams 20 that we've been talking about in a  
15 number of our IAP sessions, we've agreed to provide  
16 sites that are ready to build. We've talked about  
17 that in a number of sessions. That's very important  
18 for us, the construction side, if we've got ready-  
19 to-build sites. We don't get them, that means that  
20 we in the construction arena will have to move  
21 forward and assist to try to get permanent power to  
22 the facilities. We can do that, but it also takes  
23 us away from what we would be normally doing.

24           You can imagine what the power requirements  
25 are in some of the countries that we are actually



1 building, and the power requirements in Ouagadougou,  
2 the power requirements in Yaoundé, where I actually  
3 built the NEC, it's not very user-friendly. It's  
4 not very appealing to have that attached to your new  
5 baby, your new NEC facility.

6           The next slide on generators, it's another  
7 one that we face challenges on. They're not as  
8 complex, but they are there. We talked about it a  
9 little bit earlier there; the reliability of power  
10 makes us think very heavily, or very seriously,  
11 about whether or not we've got our generators as  
12 prime power or backup power only. The problem that  
13 we face there is local service providers, generator  
14 technicians. How many generator technicians are  
15 available in country to maintain the systems that we  
16 put in?

17           Our next slide, training, which is a good  
18 portion of commissioning. The one thing that we  
19 need to bring -- it's an integral part of the  
20 commissioning process, and it happens very close to  
21 the end of the process, but we do actually provide  
22 what we call familiarization. There are two  
23 different aspects to this. We on the construction  
24 side, doing the construction execution phase,  
25 provide what's called familiarization. We make

1 certain that the occupants, or the receivers, are  
2 familiar with the systems that are in the building.  
3 The other part of this is detailed training,  
4 extended training. We don't actually provide that;  
5 that's a function of the recipients, function of the  
6 embassy staff, to be able to train their staff,  
7 fully train their staff, on the systems that are  
8 coming online.

9           Part of that is also a language issue, and  
10 part of that skill set. Very often, they don't meet  
11 the minimum, or they don't have the base skills to  
12 manage the systems, so we work with the post as much  
13 as we can, or the recipients. In some cases, the  
14 facilities manager and staff have come on early  
15 enough that they are able to work and see  
16 troubleshooting during the installation of the  
17 system, so that's been very helpful to both the  
18 Facility Manager and to the staff.

19           The one thing that we're trying to  
20 implement -- we've implemented in the Construction  
21 and Commissioning Division is what we call our 11th  
22 month inspection. We've got a one-year warranty  
23 period after substantial completion, so we send our  
24 staff back to the site eight to twelve months,  
25 maximum, eleven months, so that we can get -- make

1 certain that all of the punchlist items, and all of  
2 the issues that were out there, have been resolved  
3 prior to the expiration of the warranty. That's  
4 something that we've already implemented to help us  
5 out with that.

6           The next slide, O&M deliverables, the  
7 biggest problem we have there is getting them. By  
8 the time you get to the end of the project, and 24  
9 months have gone by, there's very little interest in  
10 getting the documents, to turn them over to the  
11 owner. Your only desire is to leave, especially if  
12 you're in Ouagadougou or Astana, you're ready to go  
13 home. You've been there 20 months at 34 degrees  
14 below zero; you're ready to go home. Nobody's  
15 interested. But we're working towards the O&M  
16 deliverables, and we have a process in place now.  
17 We've implemented the Initiative Commissioning Agent  
18 that will work with us to work with a contractor,  
19 the design/builder, to get the deliverables, to get  
20 the extra materials as early as we possibly can, to  
21 get the spare parts, the recommended spare parts  
22 list, to get it as early as we can, to be able to  
23 provide that to the Facility Manager, make those  
24 procurements, to get the commissioning reports as  
25 soon as we can.

1           Unfortunately, we can't get the  
2 commissioning reports before substantial completion  
3 because we're testing until the last hour, so bear  
4 with us on the commissioning reports. We will get  
5 the commissioning reports. As-built drawings, we  
6 can't get as-built drawings before substantial  
7 completion. O&M manuals, we get them at substantial  
8 completion, as many and as much as we can.

9           But we do have an initiative in place with  
10 the Commissioning Agent that's online now to help us  
11 obtain this. The Commissioning Agent for us is an  
12 independent body that does not work for the AE, that  
13 does not work for a designer. That body will be  
14 there to work for the U.S. Government independently  
15 from the AE and from the contractor, to get the  
16 documents as best as we possibly can under the  
17 circumstances that we've got.

18           And at this point, I will turn it over to  
19 Clare, who will share some of her experiences with  
20 Gilbane for us, and from there, Nancy will share  
21 with us her experience and pick up some of the cost  
22 issues that we didn't complete at our last IAP  
23 session.

24           MS. ARCHER: Thanks. I just have a couple  
25 of comments, real briefly, from a process

1 perspective. Not having worked with OBO, but having  
2 worked with some other public agencies, I think one  
3 of the best roadmaps we've seen from our side of the  
4 table has actually come out of GSA. Two years ago,  
5 they put together a guideline for total building  
6 commissioning, and they made a requirement for all  
7 of their 2006 prospective projects forward had to  
8 incorporate total building commissioning. The  
9 definition for that is a little bit -- slightly  
10 vague, but it's developed basically during the  
11 project planning stage. They define what systems  
12 would be included in total building commissioning,  
13 depending on whether it's a border station, or a  
14 lab, or a courthouse, or just a Federal office  
15 building.

16           During the planning phase, they put  
17 together an initial plan. They identify the team  
18 that's engaged in commissioning, and that always  
19 includes the people that will be running the  
20 building, as well as the construction manager and  
21 the EE team, et cetera. And that's also the time  
22 where they allocate the funds, or ensure that funds  
23 are allocated for commissioning, and I just want to  
24 throw out just a couple of their baseline cost  
25 figures that may be kind of close to what Nancy's

1 seeing.

2           They say to carry, I think it's about a  
3 half a point for Federal office buildings. If you  
4 have a more complex office building like a  
5 courthouse, maybe eight-tenths to a point for  
6 commissioning, and if you're doing a lab, you're  
7 probably well over a point for commissioning. So,  
8 you probably would fall into the more complex, but  
9 not as complex as a lab, and that's what they're  
10 holding as a baseline.

11           They also decided to advocate going to a  
12 third-party commissioning agent, rather than having  
13 the designer/builder do it, and that agent will  
14 either work -- they'd like the agent to work for the  
15 construction manager as agent; that way, it's one  
16 less contract for them to administer, but on  
17 projects where there isn't a CM, then obviously,  
18 they'll administer it themselves.

19           And then finally, I mean, the design and  
20 construction process is probably exactly what you're  
21 doing and seeing, but their post-occupancy process  
22 is kind of interesting. They also do seasonal  
23 testing, but they do a final stage performance  
24 review. They do it at 10 months into the 12-month  
25 warranty period, and they do that before they

1 develop their final commissioning report. And then,  
2 they do a final satisfaction survey with their  
3 tenant agency as part of that process as well, until  
4 it's closed out.

5           And then, one of the other things that  
6 they're advocating, which we talked about real  
7 briefly, was recommissioning three to five years  
8 out, and I think the challenge to that is, at least  
9 per GSA, they give the responsibility for  
10 recommissioning to the tenant agency, so your tenant  
11 would have to pay for that, and I don't know how  
12 realistic that really is, but it's their thought  
13 process. I don't think any of the 2006 prospectus  
14 projects are built yet, so it's really hard to tell  
15 if any of that is being implemented, but as a whole,  
16 I think that's probably one of the best roadmaps  
17 I've seen out there.

18           MR. MCKINNIE: One of things that we're  
19 faced with is that we won't see the results of our  
20 new initiative for two years, so what we've gone  
21 back and done, we've taken some of our projects that  
22 were already in construction, and we're taking some  
23 of those as pilots, and implementing the  
24 commissioning agent there so that we see in the  
25 March/April timeframe of next year what our

1 commissioning looks like, see how well that's going  
2 to work.

3           GENERAL WILLIAMS: Okay. Nancy?

4           MS. GOSHOW: I'd like to start off by  
5 just finishing up on the costs, and I was looking  
6 over my notes, and correct me if I'm repeating it,  
7 but the cost of building commissioning for new  
8 buildings by the U.S. Department of Energy is 1% of  
9 total project cost. GSA and a variety of other  
10 agencies say that it's .5% to 1.5% of construction  
11 cost, so everyone seems to be agreeing on that  
12 range, so that's what you can think of. That's new  
13 buildings.

14           Existing buildings is 3% to 5% of total  
15 operating costs for what would be called "retro-  
16 commissioning." Another way to look at it is, a  
17 commissioned building will have 8-20% lower  
18 operating costs than a non-commissioned building.  
19 Obviously, you're reducing the energy use, you're  
20 decreasing the maintenance cost, you're increasing  
21 worker comfort, and then you're increasing  
22 productivity. It is a higher upfront cost to do  
23 building commissioning, but you're lowering your  
24 operating costs, and the other thing we were talking  
25 about, which ties in with a lot of other things, is



1 improved comfort, and with the stress on finding  
2 people to work in these buildings, and indoor air  
3 quality, this all feeds into everything that we've  
4 talked about so far.

5 I just wanted to mention a few solutions  
6 that we brainstormed about, and one of the things  
7 that I talked about earlier over lunch was, it would  
8 be great to gather the Lessons Learned on building  
9 commissioning and project closeout, particularly  
10 project closeout, from Rob and his staff, so it  
11 would be great if we could get the Lessons Learned  
12 Innovation Task Force to work with Rob to set up a  
13 database. And what was amazing to me was, when we  
14 came back after lunch and heard the VE presentation,  
15 the model is there for you to take the VE model of  
16 how you've analyzed the return on investment, and  
17 just move it over now, and say, "Okay, now we're  
18 going to do the same kind of database for project  
19 closeout," and just see where you get and what you  
20 find.

21 One of the other things we talked about was  
22 moving the building commissioning earlier in the  
23 process than where you may have it now. Full  
24 building commissioning, as opposed to just building  
25 commissioning, where you move building

1 commissioning, like you did VE, into the Planning  
2 part of the project, so that the design/builders,  
3 and particularly the builders at the end of the job,  
4 are not surprised by the fact that they owe all  
5 these additional things that they may never have had  
6 to do before. I think the key is, you want to know  
7 at every phase, as a builder -- I mean, architects,  
8 we're early in the process, but a builder really  
9 needs to know what's coming along so you can prepare  
10 for that, and some builders may not be as  
11 comfortable, or they may not be prepared, and maybe  
12 that's why some of these things are coming in late.

13           As I said, again, tracking the  
14 commissioning results, similar to the VE return on  
15 investment slide, the slide that Kathy had, and the  
16 other thing that we talked about was, there's the  
17 new building group, there's Rob's group, and then  
18 there's Facility Managers over here. And in the  
19 middle, there's like the Grand Canyon, right? And  
20 the Grand Canyon is where all the new building stuff  
21 kind of falls into the Grand Canyon, and the  
22 Facility Managers try to reach down to get it, and  
23 there's this gap. And so, we're thinking that maybe  
24 the thing to do is to bridge that gap, and to have  
25 the new building design project closeout

1 commissioning group kind of become a safety net  
2 underneath those Facility Managers, and it becomes  
3 integrated in a way, and that the period of the time  
4 that that group works with Facility Managers extends  
5 to six months to eight months, maybe even a year,  
6 and that at the end of a year, you bring in  
7 recommissioning, so that one year after completion,  
8 you come back and recommission the building.

9           By that time, all of the problems with the  
10 equipment will have surfaced, and you can have this  
11 period of like a year of troubleshooting.

12           That's, I think -- did I cover everything,  
13 Rob?

14           MR. McKINNIE: I think so, yeah.

15           GENERAL WILLIAMS: Okay. Well, let me --  
16 we're going to have to talk about commissioning a  
17 little bit later on down the way, but I do want to  
18 thank you for all of the input and presentations  
19 today from both sides, and before we recognize our  
20 visitors and do some other things we must do, Suman,  
21 would you join me up here, please?

22           We have had to retire, or let go, some of  
23 our members before. We have some of them here today  
24 as well, and we have such an occasion today. Suman  
25 has been a very loyal and supportive member of our

1 panel, and we always send our panel away with our  
2 best wishes, and this is fortunate that this is the  
3 beginning of the holiday period. She's been a  
4 strong supporter, a good friend; she's worked with  
5 many of our staff, and a known entity.

6 I like to say when I came here seven years  
7 ago, she was a small firm, and she just said she's  
8 medium, so things can happen being associated with  
9 us, so you may get fat.

10 (Laughter.)

11 MS. SORG: Good things happen.

12 GENERAL WILLIAMS: Good things can happen.  
13 Okay. So, what we want to do is send you away with  
14 our best wishes, and what this is is a collage of  
15 the 53, I think it was 53 here, of new compounds  
16 that we have been able to put together, and quite  
17 frankly, I've told you the value of this panel, so  
18 Suman, you should feel just as proud as we do of  
19 this, so congratulations and thank you for your  
20 contribution.

21 MS. SORG: Thank you.

22 (Applause.)

23 GENERAL WILLIAMS: And everybody has to get  
24 one of these. This is building diplomacy, and it  
25 will give sort of a historical perspective of what

1 the architectural thinking has been around our  
2 building in the State Department. And again, find a  
3 place for this too, to remember us.

4 MS. SORG: Thank you.

5 (Applause.)

6 MS. SORG: Thank you, General Williams.  
7 It's been a real pleasure, and it's been a pleasure  
8 representing the American Institute of Architects on  
9 this panel. I've learned more than I've  
10 contributed, and I'm really excited and  
11 appreciative. And working with OBO, I've had a 15-  
12 year history of that, and I'm really appreciative of  
13 the help that it's given firms like mine, and I hope  
14 continued success with this. Thank you.

15 GENERAL WILLIAMS: Thank you.

16 (Applause.)

17 GENERAL WILLIAMS: Okay, now we're going to  
18 ask our visitors to be recognized. We want to do  
19 that, and starting with Mr. Fowler.

20 MR. FOWLER: Hello, I'm Perry Fowler, with  
21 the Associated General Contractors. General, thank  
22 you once again. It was a very good, substantive  
23 conversation today. I want to thank Clare for her  
24 presentation; I thought it was very good. I think  
25 we have some homework now for ourselves, as I've

1 heard through the conversation today. Again, thank  
2 you very much, and it was great to be here.

3 GENERAL WILLIAMS: Right. Yeah, you got  
4 it; if you hang around us, you're going to get  
5 homework, or you're going to get an award, so one of  
6 them.

7 (Laughter.)

8 GENERAL WILLIAMS: Yes, Wallace?

9 MR. WALLACE: Matt Wallace, with ETI, an  
10 active member of SAME, Society of American Military  
11 Engineers for three and a half years now. It's an  
12 interesting panel, and I've enjoyed sitting on the  
13 outside for the first time and actually being able  
14 to absorb everything that's going on, so thank you  
15 very much for letting me be here.

16 GENERAL WILLIAMS: And thank you for your  
17 service on the panel.

18 MR. WALLACE: Thank you.

19 GENERAL WILLIAMS: Yes, sir?

20 MR. SAMICK: I'm Joe Samick (ph.), with  
21 Luster National, and also a member of SAME, was  
22 actually invited out by Regan McDonald. We served  
23 together for a few years, both at West Point and in  
24 Iraq for a little while, and it's great to be a part  
25 of this group, and thank you for shared experiences

1 and input. I appreciate it.

2 GENERAL WILLIAMS: Delighted to have you.  
3 Yes, sir?

4 MR. CIOTOLI: Good afternoon. Peter  
5 Ciotoli with Western Solutions, and I think this is  
6 my 5th IAP, and all the topics are very interesting.  
7 I learn more each time. Congratulations to you,  
8 sir, and OBO on your accomplishments. You should be  
9 proud of that.

10 We have just started our first State  
11 Department project at Vilnius, a building expansion  
12 and upgrade, so we're very anxious to get that  
13 moving. We have obviously a top-secret clearance at  
14 the facility level. Our company also has a top-  
15 secret clearance at the facility level, so we're  
16 looking forward to other projects that suit that  
17 clearance requirement.

18 GENERAL WILLIAMS: Okay, thank you. Yes?

19 MR. KUBIC: Hello, General. I'm Chuck  
20 Kubic, President of the VCC International, and  
21 General, looking at this panel, when you mentioned  
22 there were 19 over a period of seven years, you and  
23 your staff are to be congratulated for putting  
24 together that kind of continuity in a town that  
25 sometimes can't find it's way from year to year,

1 so --

2 (Laughter.)

3 GENERAL WILLIAMS: Thank you.

4 MR. KUBIC: So again, congratulations on  
5 the continuity of this program, and you can see the  
6 results.

7 GENERAL WILLIAMS: I'm going to try to  
8 remember that quote. That's a good one, Chuck.

9 (Laughter.)

10 MR. NORTON: Good afternoon. I'm Doug  
11 Norton; I'm from Siemens, and the Siemens Government  
12 Services Organization. This is my third opportunity  
13 to participate as an observer here. We have a long  
14 history of working with your organizations, we  
15 always enjoy it, and I appreciate the opportunity to  
16 join you.

17 GENERAL WILLIAMS: Thank you for coming.  
18 Yes, sir?

19 MR. DOUGLAS: General, thank you again for  
20 keeping this discussion open for our participation.  
21 I'm Mike Douglas with Bentley Systems. I found all  
22 of the topics today very stimulating, a couple in  
23 particular. First, just on the BIM discussion, I  
24 get a little over-excited sitting and listening to  
25 it all, but in general, I guess my feelings are that



1 it will serve OBO the best to go looking for  
2 standards-based solutions, to the extent that that's  
3 available, and where that may not fully support your  
4 objectives as you evolve your BIM strategy, to look  
5 for the most inter-operable solutions in the market.  
6 All of the vendors are moving in a similar  
7 direction, and I believe that is towards greater and  
8 greater inter-operability.

9           The second topic was simply the workforce  
10 issues. I'll just mention briefly that Bentley,  
11 possibly like other similar vendors, does have a  
12 program by which we provide our design software to  
13 secondary schools at no cost, and we have some very  
14 affordable programs for university programs, as  
15 well, so anybody that is interested in that, as Jay  
16 offered a personal perspective on our individual  
17 obligations to address this issue, feel free to  
18 contact me. I can put you in touch with the folks  
19 at Bentley that manage that program.

20           GENERAL WILLIAMS: Thank you. Let's see --  
21 yes, ma'am?

22           MS. BYRD: Good afternoon, General. Thank  
23 you for allowing me to participate again. I'm Renee  
24 Byrd with Horne International. I really wanted to  
25 thank you for raising the issue of indoor air

1 quality. It's an issue that's a personal interest  
2 of mine, and the homework was helpful just in being  
3 able to learn and contribute to that issue. And  
4 also, I want to say congratulations on the part  
5 score. A 97 is -- that's outrageous, difficult to  
6 obtain, I know.

7           GENERAL WILLIAMS: Thank you very much. I  
8 appreciate you coming. Yes?

9           MR. GUTIERREZ: Hello, everyone. I'm Kurt  
10 Gutierrez with Orion Management. I'm one of the  
11 partners, and I want to say thanks to everybody for  
12 allowing me to come onboard for this first panel  
13 meeting. But I've got to thank Jay for making the  
14 invite. He said, "Kurt, you really ought to go down  
15 there." And what we have on our team is technical  
16 security. If you need some of those NIST guys, I've  
17 got them. We have a top-secret clearance in  
18 facility holding, and we've been working with the  
19 State Department for a long time doing technical  
20 security upgrades, but have yet to start working in  
21 earnest with OBO. We've been working with some of  
22 the general contractors, and I'm trying to get in,  
23 so I think I have an understanding of some of the  
24 needs you have going forward, and we're standing by  
25 and ready, and appreciate all the information we got

1 here today.

2 GENERAL WILLIAMS: Class of '86, right?

3 MR. GUTIERREZ: Yes, sir. Your son was my  
4 classmate.

5 (Laughter.)

6 GENERAL WILLIAMS: Okay. Yes?

7 MS. HITESHUE: Hello, sir. I'm Nancy  
8 Hiteshue. I'm with the American Institute of  
9 Architects. This is my first time here; I'm new on  
10 staff at AIA, and so I appreciate the opportunity to  
11 be here and listen to the interesting. So thank  
12 you; I look forward to more.

13 GENERAL WILLIAMS: Good. Okay?

14 MR. BANKER: Thank for having me, General.  
15 Will Banker, with Surge Suppression, Incorporated.  
16 I've been here a few times over the years; I  
17 appreciate working with OBO and your staff, and also  
18 I'd like to thank the panel for taking time to be so  
19 open with some pretty interesting topics. And once  
20 again, thank you for your time. We manufacture  
21 electrical surge protection products, and over the  
22 years have been working with OBO directly, and also  
23 with the subcontractors. Thank you very much.

24 GENERAL WILLIAMS: Thank you.

25 MS. SCHMIDT: General, colleagues, I'm Rose

1 Marie Schmidt. I'm a Senior Counsel and Vice  
2 President at Marriott, International, where I head  
3 up the legal services for our architecture and  
4 construction division, and Marriott is a very strong  
5 supporter and participant in AOD. So, this is my  
6 first meeting, and I thank Rob for the invitation.  
7 In my first meeting, it was very gratifying,  
8 General, to see that you've put together a group of  
9 Government and industry experts who can share ideas  
10 because it seems to me that industry can take away  
11 as much from your team and what the Government is  
12 doing as we can offer you, so thank you very much.

13 GENERAL WILLIAMS: Thank you for coming.  
14 Look to see more of you.

15 MS. SCHMIDT: Thank you.

16 GENERAL WILLIAMS: Okay. Robin? Oh, okay,  
17 back here.

18 MR. BARTON: General, Mike Barton, Vice  
19 President of SSI, also a sustaining member of SAME.  
20 Some of you guys are here also. I work along with  
21 Will; we do a lot of work together with the Design  
22 and Engineering team, and doing a protection system  
23 on the electrical equipment in the facilities. We  
24 appreciate the opportunity to work together with  
25 you, and we've had a great relationship for many

1 years, and we look forward to the future together.

2 GENERAL WILLIAMS: Okay, thank you. Robin,  
3 welcome back.

4 MS. OLSEN: Hi, thank you. Robin Olsen,  
5 with Associated Owners and Developers. I've enjoyed  
6 knowing the General all these years, and meeting  
7 everyone on the panels as well as with OBO, and it's  
8 enjoyable to be back, and I really appreciate the  
9 opportunity, and it's gratifying to see all the hard  
10 work and all your results, and they're lucky to have  
11 you.

12 GENERAL WILLIAMS: Thank you. Welcome  
13 back, Mary.

14 MS. ANDERSON: Thank you. Good afternoon.  
15 I'm Mary Anderson, I'm Senior Vice President of  
16 Schnabel Engineering, and I'm also post President of  
17 the northern Virginia SAME post, so I want to thank  
18 you for -- once again, your support of SAME, your  
19 speaking at SAME, your having SAME represented here,  
20 and renewing your membership with us.

21 (Laughter.)

22 MS. ANDERSON: That's always good. And I  
23 hope that you're getting your e-mails of our  
24 announcements because we do have -- Regan, I think  
25 you're in on this -- we have confirmed our March

1 speaker will be a BIM-related topic that you may --  
2 and it will be from a construction contractor's  
3 perspective, some of their procedures, so we'll make  
4 sure that if you're getting the e-mails, that's  
5 great, and if anyone is interested, you can either  
6 see me or go to our website. And again, thank you  
7 for the program. Great job.

8           GENERAL WILLIAMS: Okay. Thank you for  
9 coming. Okay, let's see. Yes?

10           MR. STINGLY: General, thank you for  
11 letting me come again. I'm Pat Stingly. I'm from  
12 the Bureau of Diplomatic Security. I'm what they  
13 call an "enterprise architect," which is a computer  
14 version of an architect, and also a member of AIA.  
15 We belong to them, too.

16           The BIM discussion is very interesting. I  
17 have to do a technical reference model. The  
18 technical reference model talks about all of our  
19 computers, and I would like one day for us to have  
20 an embassy, and have the picture of what's there,  
21 have the security cameras, of course, have the  
22 network, have the computers, and when you call up  
23 the help desk, you'd be able to get your window  
24 fixed, to be able to get your computer fixed, or  
25 pretty much anything else.

1           And the BIM discussion is very interesting  
2 because I'm beginning to see how we can kind of knit  
3 these things together. Thank you, sir.

4           GENERAL WILLIAMS: Thank you. Bill Brown?

5           MR. BROWN: Sir, Bill Brown, Executive Vice  
6 President of Page Southerland and Page, and a  
7 national Board Member of SAME. You're surrounded  
8 with SAME members, sir.

9           GENERAL WILLIAMS: I see that.

10          MR. BROWN: I want to congratulate you on  
11 another excellent program. We want to make a  
12 comment on workforce; I sort of held myself back,  
13 there. As an architect and an engineer both, I have  
14 a deep interest in workforce development. I would,  
15 however, offer that at the end of the day, we need  
16 to increase the pool. Any way you look at it, we  
17 can re-work those that we have, but we've got to  
18 increase the pool. Now, when it comes to Facility  
19 Managers, just for consideration, I would throw out  
20 to consider whether or not we need architects and  
21 engineers as a mandatory.

22          Certainly, I would agree that it's highly  
23 desirable, but I think we need to ask ourselves, is  
24 it possible to have other professions feed into that  
25 requirement, and if so, what are those professions,

1 and what would we have to do to make them whole, to  
2 carry out that responsibility. So I'd just convey  
3 that idea to you. Thank you, sir.

4 GENERAL WILLIAMS: Good idea, Bill. We'll  
5 look at that. We'll look at anything.

6 (Laughter.)

7 MR. SHIRVINSKI: Good afternoon. My name  
8 is Adam Shirvinski, and I'm with DLT Solutions. I  
9 appreciate the invite, and being able to attend. I  
10 noticed two comments relative to the panel  
11 discussion; I thought the panel discussion was  
12 wonderful today.

13 Specifically, one was dealing with  
14 commissioning. As an element in your pursuit of  
15 LEED, it is a fundamental requirement to do  
16 commissioning. You have enhanced commissioning at  
17 the DD stage, which is something that you might want  
18 to consider, and obviously, tying that into indoor  
19 air quality issues is something. So there's some  
20 thought around commissioning being the responsible  
21 holder of it; I think you can kill two birds with  
22 one stone.

23 Building Information Modeling, I think it's  
24 a fantastic discussion. It's fraught with danger,  
25 pitfalls, but there's a lot of benefit to it. I



1 think the ideas that have been passed, and I bring  
2 up Gary Haney's (ph.) presentation of many years ago  
3 that dealt with tiger teams and a concentric process  
4 is the way to go forward. So, again, thank you for  
5 the invitation and great discussions.

6 GENERAL WILLIAMS: Thank you. Yes, ma'am?

7 MS. AILOR: Diane Ailor with DBI  
8 Architects. Thank you for the opportunity to be  
9 here, General Williams. This is my third  
10 opportunity to attend an IAP session, and what I  
11 particularly enjoyed today, as well, was the  
12 discussion on BIM. It's really a unique opportunity  
13 in one room to hear the perspectives of the  
14 contractors, engineering community, various industry  
15 organizations, and most importantly, the client, so  
16 thanks for the opportunity, and I look forward to  
17 future sessions.

18 GENERAL WILLIAMS: Thank you for being  
19 here. Yes, sir?

20 MR. WALDSCHMIDT: Good afternoon. Thank  
21 you, General Williams. It's probably my 10th time;  
22 I feel at home here.

23 (Laughter.)

24 MR. WALDSCHMIDT: I'm Dieter Waldschmidt  
25 with Saelzer Building Security, and I guess Greg

1 was -- the invitation to participate on one of your  
2 teams because we're a manufacturer of -- what we do  
3 is building security is FEBR doors and windows for  
4 the State Department; we've probably done a hundred.

5           Besides being a member of the AIA, I'm also  
6 a member of SAME --

7           (Laughter.)

8           MR. WALDSCHMIDT: -- a former President of  
9 SAME, and a fellow of SAME. And thank you very much  
10 for the invitation.

11           GENERAL WILLIAMS: I knew I was feeling  
12 comfortable for some reason.

13           (Laughter.)

14           MR. BROWN: General, I'd like to thank you  
15 and your staff for inviting me. My name is Isaac  
16 Brown. I'm with Alpha Technology Group. We are  
17 located in Waldorf, Maryland. We're a  
18 telecommunications and IT provider. Primarily, we  
19 do a lot of work with the military district of  
20 Washington and other -- and beyond that, throughout  
21 DOD. We are interested in getting involved with  
22 OBO, and that's the reason that I'm here. I've  
23 enjoyed the meeting, and look forward to hopefully  
24 attending more. Thank you.

25           GENERAL WILLIAMS: Thank you for being

1 here. Yes, sir? Contemporary and cool.

2 (Laughter.)

3 MR. NORMAN: Oh, you just stole my thunder,  
4 General. Thanks for the invitation. I'm Ravi  
5 Norman from Thor Construction, one of the largest  
6 minority-owned general contractors in the country.  
7 We have expressed an obvious interest in trying to  
8 do business with the OBO, and more than just  
9 building buildings, we want to, as we do here  
10 domestically, build smaller contractors and build  
11 communities. As you can tell by some of my comments  
12 earlier, I'm also going to be talking to an attorney  
13 about trying to copywrite and trademark "Cool and  
14 contemporary."

15 (Laughter.)

16 MR. NORMAN: But thank you very much. I  
17 really enjoyed the discussions today, from the air  
18 quality to the workforce development, to the Value  
19 Engineering, and was also excited about the BIM  
20 conversation. We spend a lot of time on investing  
21 in technological innovations at our company because  
22 we think that is a big part of the future of our  
23 industry, so thank you for having us.

24 GENERAL WILLIAMS: I might add that the  
25 senior members of his company made a call on me a

1 few days ago, and it was recommended by a member of  
2 Congress, so this is very, very good. So they will  
3 be looking at the process and see what's involved  
4 and so on, but they're very, very large, so we'll  
5 see how that works. Okay. Let's go around now with  
6 the panel, starting with you, Nancy.

7 MS. GOSHOW: Well, thanks again for a great  
8 homework opportunity. I enjoyed working with Rob  
9 McKinnie the last time on building commissioning,  
10 and I enjoyed it very much this time, and I hope I  
11 have an opportunity to work on it again. Thank you.

12 GENERAL WILLIAMS: Okay. Yes, sir?

13 MR. WOODS: As many of the guests have  
14 said, it's -- I take away far more than I bring, so  
15 it's been an interesting program, and I look forward  
16 to the next one.

17 GENERAL WILLIAMS: Thank you. Darryl?

18 MR. HORNE: I was going to say "ditto," but  
19 thanks so much, and it was a pleasure working with  
20 George on this topic, and hopefully you'll get to  
21 talk a lot more about indoor air quality. Thank  
22 you.

23 GENERAL WILLIAMS: Okay. Greg?

24 MR. KNOOP: General Williams, it is an  
25 honor to be a part of this panel. I admire the

1 ability of all of us to listen and learn from the  
2 discussions here, but also the program. We're  
3 witnessing a program that listens and learns and  
4 improves, and supports diplomacy worldwide for our  
5 country. So, thank you very much for letting us  
6 participate.

7 GENERAL WILLIAMS: Thank you for serving.  
8 Bill?

9 MR. FLEMMING: General, thanks for having  
10 me back. I'm representing DBIA again. I just  
11 wanted to thank the panel; also, I find they're very  
12 stimulating and interesting, and it's a nice,  
13 diverse group you've put together. So again, I  
14 thank you, and thanks for listening to my thoughts.

15 GENERAL WILLIAMS: Thank you. Clare?

16 MS. ARCHER: General, thanks for allowing  
17 me to participate today. It was exciting to be on  
18 two panels, and I have to admit that when I  
19 originally got the agenda, I stopped reading when I  
20 saw my name the first time, so I didn't realize I  
21 was on there a second time until much later, so I  
22 guess I need to tell my fellow panel members that  
23 someone's going to be on twice, so make sure you  
24 read to the bottom of the agenda.

25 (Laughter.)

1 MS. ARCHER: But it's been a fabulous  
2 conversation, and I appreciate being able to be a  
3 part of it. Thanks.

4 GENERAL WILLIAMS: Good. Thank you. Yes,  
5 Suman?

6 MS. SORG: Thank you, General Williams,  
7 again. It was a pleasure serving on this panel. I  
8 will definitely miss it. You know, again, the  
9 program is just astonishing. I was looking at this  
10 book right now and this plaque; three of my own  
11 buildings are on it. That -- I don't think women  
12 businesses like ours would ever have had that  
13 chance. It's really a huge honor, really, to serve,  
14 and to be a part of this program, and I hope it  
15 continues with the great success that you already  
16 have. Thank you.

17 GENERAL WILLIAMS: Thank you for your  
18 service. Regan?

19 MR. McDONALD: Sir, it's been a pleasure.  
20 I enjoyed working with your staff on this question  
21 this time, with Jonathan and Joe Campbell. Thanks a  
22 lot; I'm almost certain, based on my prior comment,  
23 that I will have two questions next time.

24 (Laughter.)

25 GENERAL WILLIAMS: Good, good, good. Let

1 me thank everyone because the weather is not the  
2 best, and we're going to try to wrap things up, but  
3 I do appreciate everyone being in attendance; your  
4 comments make the program. I do want to thank Tim,  
5 who's been doing a lot of hard work up there. He  
6 does a wonderful job. He's our preference now, when  
7 we call his company. As you know, we have very,  
8 very accurate minutes and recordings of these  
9 sessions, and so we thank you once again. And then  
10 of course, we want to thank our EA staff, Michael  
11 and Andrea, and is Allette (ph.) here? Okay. To  
12 make certain that -- because they have all the hard  
13 work between these sessions, to interact with you  
14 and keep things going for us.

15 We want to thank, also, our MSD, Management  
16 Support Division, Roberto. You and all of your  
17 people -- are they out there?

18 UNIDENTIFIED SPEAKER: Yeah, they're out  
19 there.

20 GENERAL WILLIAMS: Have them come in, so we  
21 can just recognize them, and then we'll be about  
22 finished.

23 (Pause.)

24 GENERAL WILLIAMS: And if they're shy too  
25 long, we'll just -- we'll move along.

1 (Laughter.)

2 (Applause.)

3 GENERAL WILLIAMS: Okay. These are the  
4 people that will help you, as you know, to see that  
5 you get back to your modes of transportation, and  
6 they're always here, very quietly taking care of  
7 things, and so we wanted to thank you for that.

8 And to everyone, have a safe and happy  
9 holiday. Until we meet again.

10 (Whereupon, at 3:30 p.m., the proceeding in  
11 the above-entitled matter was closed.)

12

13

14

15

16

17

18

19

20

21

22

23

24

25



1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

C E R T I F I C A T E

This is to certify that the attached  
proceedings in the matter of:

UNITED STATES DEPARTMENT OF STATE

OVERSEAS BUILDING OPERATION

INDUSTRY ADVISORY PANEL

Washington, D.C.

December 13, 2007

were held as herein appears, and that this is the  
original transcription thereof for the files of the  
United States Department of State.

---

Timothy J. Atkinson, Jr.,

Reporter

FREE STATE REPORTING, INC.