

Appendix A part 4

APPENDIX B: PUBLIC MEETING TRANSCRIPT

U.S. ENVIRONMENTAL PROTECTION AGENCY

PUBLIC MEETING

Held in the fellowship hall of
First Baptist Church
Plymouth, North Carolina

Thursday, August 16, 2007

7:00 P.M.

Volume 1 of 1

Pages 1 through 48

A P P E A R A N C E S

For the U.S. Environmental Protection Agency:

Randy Bryant, Remedial Project Manager
Angela Miller, Community Involvement Coordinator
U.S. Environmental Protection Agency
61 Forsyth Street, SW
Atlanta, Georgia 30303-8960
(404) 562-8561

PROCEEDINGS 7:06 P.M.

1
2 RANDY BRYANT: The purpose of the meeting
3 tonight is to talk about our proposed plan to
4 deal with dioxin in sediment that is in a
5 certain stretch of the Welch Creek, which
6 flows through the Domtar Mill property.

7 As Angela said, we'll have a
8 presentation and we'll take questions and
9 we'll try our best to answer those questions.
10 And if we can't answer them tonight, then if
11 you'll leave us a mailing address or a phone
12 number or something, we can get back with
13 you.

14 What we'll do first, we'll go through a
15 little background and history. We'll talk
16 about a summary of the site studies, a
17 summary of the different alternatives we
18 considered, one that we call our preferred
19 alternative, and then we'll talk about the
20 time line in the coming months and year or
21 so, and then we'll get into the question
22 period.

23 And just very briefly, I'm Randy Bryant.
24 I work for the U.S. EPA. I'm the project
25 manager dealing with Superfund projects, you

1 know, on the Domtar/Weyerhaeuser facility. I
2 worked for EPA for about sixteen years.
3 We're in our regional office out of Atlanta,
4 Georgia, but I was born and raised in North
5 Carolina, and I graduated from N.C. State
6 University. But enough about me.

7 Superfund, what is it? It's a federal
8 law that deals with the release of hazardous
9 substances into the environment. The purpose
10 of the program is to reduce risks to either
11 people or the environment. Under the
12 Superfund program, companies that are owned
13 or operated at the site are required to do
14 the necessary studies and cleanups, and EPA
15 provides oversight throughout the process.

16 When you do these site specific studies,
17 you're trying to answer four basic questions:
18 What are the contaminants? Where are they?
19 Is there an unacceptable risk? What are you
20 going to do about it? And then based on
21 those studies, EPA issues a proposed plan and
22 seeks public comments. And we do that
23 through the thirty-day comment period, as
24 well as the public meeting tonight.

25 EPA will consider those comments and

1 then make a final decision, which is
2 documented in a record of decision. And then
3 once the record of decision has been signed,
4 then you move on to doing the design and the
5 actual construction of the remedy.

6 And just briefly a little bit about the
7 site history. Some of you may be pretty
8 familiar with it, but, again, the site is
9 about one and a half miles west of Plymouth.
10 It's a paper mill that has been in operation
11 since 1937. They focus on fine paper, but
12 they've also made fluff pulp, also. It was
13 owned by Weyerhaeuser from 1957 until 2007.
14 There's a new owner, Domtar Corporation.
15 That's a result of a merger of certain
16 Weyerhaeuser assets plus certain Domtar
17 assets to form a third company, which is the
18 one that is now managing the Plymouth mill.

19 Some of you probably received a fact
20 sheet in the mail, or you may have picked up
21 a copy from the table as we came in. There
22 is a figure on page four in there. The
23 figure there just gives a better idea of the
24 location of Welch Creek and the area that
25 we're particularly interested in.

1 When we were doing our study in Welch
2 Creek, we were looking at an area that began
3 roughly at Highway 64 and ran down to the
4 Roanoke River. The area that we're
5 particularly interested in, as you see on the
6 figure, again page four of your proposed
7 plan, you'll see a graying across that area,
8 and you'll see some designations or markers
9 like MT-3 down to MT-6. That's what we call
10 the upstream or upper reach of Welch Creek.
11 And that's an area where we have higher
12 concentrations of dioxin in the sediment.
13 And that's the stretch that we're really
14 focusing on in our preferred alternative.

15 Through the Superfund program, we worked
16 on several projects at the site. There was a
17 former landfill at the site that has been
18 capped and closed. There was the old
19 chlorine plant that has been cleaned out.
20 And we're also working here on Welch Creek.

21 Welch Creek, as you probably know --
22 some of you may have been on it or seen it
23 driving on 64. It's considered a blackwater
24 stream, a slow moving stream. There's some
25 swamp present along some of the beddings as

1 you move down towards the river. Wastewater
2 was discharged from the mill at two locations
3 in Welch Creek in a period from roughly 1957
4 to 1988. And, you know, the discharging was
5 permitted going back as far as, like, 1969.

6 One of the four basic questions: What
7 is it; what are we so concerned about? The
8 main contaminant we're concerned about is
9 dioxin. We do have detections of mercury in
10 some of the sediment, but dioxin is what
11 we're focusing on.

12 That defines the largest extent of the
13 area that we're concerned about. Dioxin is
14 present in sediment in certain stretches of
15 the creek and some of the adjacent wetland
16 soils.

17 Dioxin levels range anywhere from .02 to
18 6 parts per billion. And, again, the area of
19 highest concentration is what we call at
20 upstream reach, which is about a mile creek
21 bed from the transect that's called MT-3 to
22 MT-6 on the figure.

23 Another thing we have to answer is, is
24 there unacceptable risks? So we do what's
25 called a risk assessment. We look at

1 potential risks to people or potential risks
2 to the environment, as well.

3 Exposure to sediment or soil does not
4 pose an unacceptable risk to people. You
5 know, we considered people visiting, tourists
6 coming in, coming up the creek and walking
7 through the wetland areas. We also
8 considered an adult recreational fisherman
9 consuming some of his fish from the creek.

10 But, on the other hand, another way to
11 try to gauge with is the fact that the State
12 of North Carolina has -- still has a fish
13 consumption advisory in place for certain
14 fish in this area, particularly the catfish
15 and carp. And, more specifically, the
16 consumption advisory just says that women and
17 children shouldn't eat catfish and carp, and
18 that other folks should eat, like, one meal
19 per month of either catfish or carp, you
20 know, from the creek or the river.

21 It's also worth pointing out that across
22 all of North Carolina, unfortunately, there's
23 a fish consumption advisory for mercury, and
24 that has to do with air deposition from a
25 variety of sources across the state.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Another avenue that we looked at for potential risks was potential risks to fish, mammals, birds, and other ecological receptors. The dioxin, it can bioaccumulate up the food chain. The small, little things at the bottom of the creek come in contact with the dioxin in sediment, ingest it, and then bigger things eat them, and so on and so on up the food chain.

Given that kind of scenario, we looked at what would be an appropriate cleanup level to make sure that we protect the different ecological receptors. And based on our studies and the risk assessment, we arrived at a cleanup goal for dioxin in sediment of one part per billion. So, again, that upstream reach, that one-mile stretch, is the area where we have dioxin that's above our cleanup goal.

We do these different studies, trying to do our calculations to figure out potential risks, but we also have to consider some other things. And, on the other hand, there are improvements in the Welch Creek and river area.

1 The dioxin in wood duck eggs has
2 declined almost fivefold since the mid
3 1990's, at least based on studies by the U.S.
4 Fish and Wildlife Service. And also they
5 were checking for mercury in duck eggs, and
6 they -- the levels are very low, much lower
7 than what would be expected to cause any
8 problems.

9 And another thing to keep in mind, too,
10 is that dioxin concentrations in fish have
11 been declining since the mid 1990's. That's
12 probably due in large part to the fact that
13 around 1992 the mill changed its paper
14 bleaching operation, which resulted in less
15 dioxin being generated in the first place.
16 And, as a result, you're seeing a decline in
17 dioxin concentrations in fish, which is
18 similar to the other declines we've seen.
19 We're scoping down by a factor probably of
20 five or more over the last ten to fifteen
21 years.

22 So we talked a little bit about what is
23 it, where is it, is there unacceptable risks.
24 And then, finally, you know, what is it that
25 you can do about it? After we -- after you

1 do the R.I. and risk assessment, you do
2 something called a feasibility study, which
3 looks at a range of alternatives to deal with
4 the issues. And you look at everything from
5 doing no action, and in this case, from no
6 action all the way up to dredging. In the
7 FS, which is summarized in the proposed plan
8 and which is also available in its entirety,
9 if you want to look at it, at the local
10 library here in Plymouth.

11 If you want to see the documents at the
12 library, just ask for the administrative
13 record for Welch Creek that's prepared by the
14 U.S. EPA. And then they will have the major
15 documents that have been generated from the
16 site, if you want to see them for yourself.

17 But in the FS, you can consider no
18 action, monitored natural recovery,
19 variations on capping and dredging for the
20 upstream reach, and we looked at those plus
21 channel rerouting for the midstream reach.

22 Now, midstream reach is the area where
23 the dioxin is actually below our cleanup
24 number. The only problem is that there's a
25 potential that you might have a little bit of

1 stream bed erosion in that area and that that
2 might contribute to having more exceedances
3 of surface water standards. So we at least
4 wanted to have some monitoring in place as
5 part of our alternative for that midstream
6 reach.

7 When they did the feasibility study,
8 they did pilot testing, which is small scale
9 tests. We looked at the many tests for
10 mechanical dredging and associated dewatering
11 that you would have to do. We also did some
12 testing of different capping materials, being
13 a thin-layer cap or a thicker deposit cap
14 that was made with a base layer of wood chips
15 followed by a thicker layer of sand.

16 So, when you look at your proposed plan
17 fact sheet, you'll see the ten different
18 alternatives. The fact that we ended up with
19 ten just has to do with the fact that we're
20 looking at combinations of alternatives
21 between the two reaches. If you just simply
22 had focused on the upstream region alone, we
23 could have had maybe four or five.

24 When we're evaluating these
25 alternatives, there are certain criteria that

1 we use to judge them. There are nine
2 criteria that have been set up in the
3 Superfund regulations. The first two are
4 called threshold criteria, which are the
5 criteria that any remedy has to meet if it's
6 going to be selected. And those are overall
7 protection of human health and the
8 environment and compliance with ARARs. The
9 ARARs are just other laws and regulations
10 that might apply to the situation. Balancing
11 criteria are tradeoffs that we have used to
12 consider the differences between the
13 alternatives. The balancing criteria include
14 long-term effectiveness and permanence;
15 reduction of toxicity, mobility, or volume
16 through treatment; short-term effectiveness;
17 implementability; and cost.

18 And, finally, we have modifying
19 criteria, which are state acceptance and
20 community acceptance. And that's based on
21 the comments that we get during the comment
22 period.

23 As I had mentioned, in your fact sheet
24 it goes into a little bit more detail about
25 the different alternatives. And, again, I

1 had mentioned that you have the more detailed
2 documents themselves, even greater detail,
3 that are present in the library.

4 What I wanted to do was just touch on
5 some of the basic differences between the
6 approaches that we considered. One is simply
7 no action. And that's something that we're
8 required to consider for any site, and that
9 just serves as a baseline to compare the
10 other alternatives to.

11 Monitoring natural recovery is simply
12 monitoring to show that over time you'll have
13 enough natural sedimentation to blanket the
14 area that you're concerned with. One of the
15 things we have to think about, though, with
16 monitoring natural recovery in Welch Creek is
17 that there's not a lot of sediment load in
18 the creek. And they have done some modeling
19 to try to estimate how long it would take for
20 natural sedimentation to cap or cover these
21 contaminated sediments. And based on those
22 preliminary modeling results, it's looking
23 like about a hundred years for natural
24 sedimentation to achieve the same thing that
25 we want to do. In some cases, you know, a

1 hundred years has been considered reasonable.
2 But, to me, I'm just not so sure a hundred
3 years is appropriate. I didn't really feel
4 comfortable saying, "Well, okay, we'll just
5 go with the monitoring natural recovery."

6 We also looked at dredging. The problem
7 -- I mean, dredging can be done. The problem
8 with dredging, though, is that it's not going
9 to be a complete surgical procedure where you
10 can exactly take out everything and have
11 nothing left behind. You're going to end up
12 -- when you dredge, you're going to end up
13 with a residual layer of contaminants. And
14 the end result is going to be similar
15 potential risks to your receptors. So even
16 though you have a thin layer instead of a
17 thicker layer, you're still going to need to
18 drop some kind of a cap over that. So
19 dredging doesn't get the risk reduction that
20 we're expected to get.

21 We're also going to have issues, at
22 least potential issues, with impacts to
23 service water quality, because once you start
24 trying to actively dredge or remove the
25 material, you're going to be stirring it up

1 in the water column, and it's going to take a
2 while for it to settle down. And the longer
3 it stays mixed up in the surface water, it
4 also has more potential to move further
5 downstream.

6 And I had mentioned another type of cap
7 that was considered in evaluating the pilot
8 tests. It was a thicker cap. It was an
9 engineered cap that had six inches of what we
10 call hog fuel, followed by six inches of
11 sand. And hog fuel, I had already mentioned,
12 is just a -- it's basically bark or wood
13 chips that's plentiful, you know, at the
14 paper mill, so there's a ready source for
15 that. And it serves as a good bedding layer
16 on those contaminated sediments at the
17 bottom.

18 The material that's present on the
19 bottom of the creek is not just, like, hard
20 packed sand or something, it's -- it's more
21 -- it's described anywhere from gelatinous to
22 soupy. So it's like a thin mud. And if you
23 try to drop something on that, you have to be
24 careful. And that was the one good thing
25 about the hog fuel is because the different

1 pieces kind of floating down, they tended to
2 provide a support layer for the sand that you
3 could drop on later.

4 One other thing that we considered for
5 the midstream reach was actually trying to
6 reroute the channel. We would just dig
7 another stream bed adjacent to the old one
8 and then reroute the flow. We considered
9 that, like I say, for the midstream reach.
10 I'm not sure -- that's really not a very good
11 alternative. You're going to have impacts to
12 a lot of wetlands over there, and you've got
13 kind of limited space to actually effectively
14 perform that.

15 The cost of these alternatives range
16 anywhere from zero, as you might expect, for
17 no action, up to approaching 27 billion for
18 the most extension dredging option.

19 Our preferred alternative, which was
20 identified in the proposal plan and we'll
21 talk about here is what we're calling
22 enhanced monitored natural recovery. It's
23 essentially a thin-layer cap that would be
24 applied to the sediments in the upstream
25 reach. And we would also do mobility

1 monitoring for the midstream reach, again
2 with the idea just making sure -- or
3 confirming whether or not you're going to
4 have much of a problem with erosion of any of
5 those creek sediments in that midstream
6 reach.

7 With enhanced monitored natural
8 recovery, what you're trying to do is getting
9 a jumpstart on the natural sedimentation
10 process. It would be a two- to four-inch
11 layer of sand that would be deposited on the
12 wastewater solids. As part of the program,
13 we would have to have long-term monitoring
14 and maintenance for the capped area. We
15 would have long-term monitoring of biota or
16 the fish, the little bugs that are living
17 down at the bottom of the creek. It would
18 also mean checking on surface water and
19 sediment so that we could document the
20 performance of the remedy. And the fish
21 advisories that are in place now will remain
22 in place until the State's standards have
23 been met.

24 The cost for the preferred alternative
25 is roughly 9.6 million. Now, that includes

1 long-term monitoring and maintenance costs.
2 It includes, like, thirty years of future
3 costs just for doing the monitoring and
4 maintenance, as well.

5 With this approach, there are several
6 benefits to it. One is that we're not making
7 the situation worse by trying to aggressively
8 dredge the contaminated sediments and
9 stirring them up more. And then, also, like
10 I say, even if you dredge, you're probably
11 going to have to come back and drop a thin-
12 layer cap over it, anyway. And, also, too,
13 with any of these remedies with any of our
14 sites, you know, if you're committed to doing
15 long-term monitoring, then that allows you to
16 check on the performance of the remedy.

17 And we have something that we call five-
18 year review that's done at our sites,
19 particularly when we have something like a
20 containment or a capping readily in place.
21 You have five-year reviews where you can come
22 back and check to make sure that it's still
23 protected.

24 And the idea is that it will be able to
25 -- this won't be the only shot at it. You

1 know, we'll implement the thin-layer cap,
2 monitor it and make sure it does what it
3 needs to do. If it doesn't, we can always go
4 back and modify it.

5 Just to give you an idea of what would
6 happen from this point forward, just to kind
7 of emphasize a few points, you know, we're in
8 the public comment period now that's going to
9 run through September 4th.

10 As Angela had mentioned, if you're going
11 to send in written comments, they just need
12 to be postmarked by September 4th. There are
13 mailing addresses and phone numbers and e-
14 mails on the handouts that you picked up as
15 you came in through the door there.

16 Okay, so the comment period ends, EPA is
17 going to review all those comments, and then
18 we'll also prepare a response to those
19 comments, and then we'll make a final
20 decision about whether or not to proceed with
21 this preferred alternative.

22 If we decide to proceed with the
23 preferred alternative, then we just document
24 it in something called the record of
25 decision. And it's possible that we could

1 get that signed by September or October of
2 this year. And then after that, the latter
3 part of 2007 and then going into 2008, EPA
4 would negotiate a legal document with Domtar
5 that would commit them to actually doing the
6 construction part of the remedy. And then
7 once that legal document has been signed by
8 both parties, then you go into a design
9 phase.

10 So, just rough estimated dates, you're
11 looking at 2008-2009 for the design phase and
12 then roughly 2009-2010 to get the
13 construction done. And then after that,
14 you're just going to have the long-term
15 monitoring and the five-year reviews.

16 That's it. That's the summary of what I
17 have for tonight. We're going on into the
18 question and answer period.

19 What might be helpful is if -- I'll just
20 move the microphone over here a little bit
21 more towards the center. If you don't mind,
22 if you have a question or comment, if you
23 could just speak into the microphone. That
24 way it makes it easier for the court reporter
25 to more accurately capture your comments.

1 So, with that, if someone has a question or
2 comment, I'll see if I can answer it.

3 TERRY PRATT: If you did decide to dredge in
4 alternative ten, what would be the disposal
5 of that dredge material; where would you put
6 it? Would you incinerate it; would you
7 landfill it? And if you landfill it, where
8 would you landfill it?

9 RANDY BRYANT: At this point, I would think
10 the landfill. We would separate the solid
11 part from the liquid part. You're going to
12 have a lot of water that you're sucking up,
13 so you would have to have a treatment plan to
14 take care of the liquid part. And the solid
15 would have to be disposed of. It's possible
16 that there's landfill capacity on the plant
17 site itself or you would have to find another
18 suitable facility.

19 TERRY PRATT: I'm sorry. My name is Terry
20 Pratt, P-R-A-T-T. I'm president of the
21 Albemarle Fisherman's Association and the
22 past president of Roanoke-Chowan Wildlife
23 Club, both of which are situated in this
24 area. And I've been a commercial fisherman
25 for fifty years down here, so this creek does

1 concern me. And if you are at in the mid
2 reach below levels now, as I understand it,
3 and I think I'm right, North Carolina state
4 standards on pulp mills are thirteen parts
5 per quadrillion or non-detect for dioxins.

6 RANDY BRYANT: For their discharge?

7 TERRY PRATT: Yeah, for their discharge. So
8 that's a big difference.

9 RANDY BRYANT: Yeah, but we're also talking
10 about two different things. We're talking --
11 the cleanup we're talking about for the
12 actual sediment itself, there's a surface
13 water standard from the State of North
14 Carolina regulating their discharge.

15 And, as far as active plant operations
16 and discharges, there are different programs
17 and different staff that are focused on that.
18 What's I'm able to deal with is the stuff
19 that's left on the bottom of the creek from
20 their historic discharges.

21 And the cleanup number is what we
22 figured out would be protective of the
23 critters and the small critters at the
24 bottom, or the fish, the river otters, and
25 then also to, like, osprey.

1 TERRY PRATT: Yeah. But, as you stated, I
2 think, the dioxin levels have been dropping
3 in samples taken from fish and wildlife over
4 the last two or three years.

5 RANDY BRYANT: Well, over a longer period of
6 time than that.

7 TERRY PRATT: Yeah.

8 RANDY BRYANT: That is certainly right. It's
9 on a decline. And that's another reason why
10 I'm not advocating a real aggressive dredging
11 operation, because things are improving
12 without us. So we don't want to make things
13 worse when they're already on a positive
14 trend.

15 TERRY PRATT: Right. Sometimes it's best to
16 let a sleeping dog lie.

17 RANDY BRYANT: Well, that's part of what
18 we're considering, yeah.

19 TERRY PRATT: Is there any mechanics
20 included that would require process
21 regulations for pulp mills to maintain
22 process improvement? We went from chlorine
23 bleach to oxygen bleach to ozone bleach, and
24 a lot of them drug their feet because they
25 didn't want to pay the price to go from oxy

1 to ozone simply because they had to pay for
2 the technology. Is there something going to
3 be included in that that says, "All right,
4 Domtar, if you're going to run fine paper,
5 you're going to run at this level of
6 discharge"?

7 RANDY BRYANT: Well, as I was trying to point
8 out, there's different groups that --

9 TERRY PRATT: I understand that, but --

10 RANDY BRYANT: But as far as what the
11 Superfund can require, Superfund -- this
12 program is not set up to say your active
13 plant has to do this; we're trying to fix an
14 old problem.

15 TERRY PRATT: I understand. But if you're
16 fixing an old problem, it makes a lot of
17 sense to get in front of that problem.

18 RANDY BRYANT: Right.

19 TERRY PRATT: And EPA can recommend that
20 North Carolina require certain standards,
21 "You will do this process this way or you go
22 the hell out of business." I mean, it's that
23 simple.

24 RANDY BRYANT: Well, they are meeting their
25 permitted discharge standards now.

1 TERRY PRATT: Right.

2 RANDY BRYANT: And they have a permit that's
3 in effect -- I forget when it expires, but
4 it's several years down the road. So they're
5 meeting their standards now.

6 TERRY PRATT: Yeah, they are, but they're
7 chang -- companies are changing hands
8 quickly. And when Union Camp sold out to
9 International Paper, the whole environmental
10 staff went away. And the only thing
11 International Paper looks at is the bottom
12 line. He could care less whether my fish die
13 or I die, as long as he turns a profit.

14 So, if we don't get in front of this
15 stuff, Mr. EPA, we ain't going to live long
16 enough to clean it all up.

17 RANDY BRYANT: I understand. Have we got
18 another question or comment?

19 RUSSELL LEE: My name is Russell Lee,
20 resident of Washington County, retiree from
21 Weyerhaeuser Company. No questions, just a
22 statement as to fact. I understand that
23 things are improving with Mother Nature and
24 Father Time. Personally, I'm opposed to
25 going in and dredging. I'm in favor of

1 minimum impact on the creek. At the present
2 time in the last few years, there has been
3 increased fishing in that creek. I think we
4 need to do a minimum amount of work.

5 If Superfund insists on spending
6 \$9,000,000.00, my suggestion is to take these
7 funds and separate them and give them to
8 Washington and Martin County. Economically,
9 we could use them a whole lot more there.
10 Thank you for your time.

11 RANDY BRYANT: Thank you.

12 CHRIS SMITH: Chris Smith from Roper. I'm
13 also an ex-Weyerhaeuser employee. But I kind
14 of agree with Russell on some of that and
15 what he said about not dredging and
16 disturbing. I think we've got a Pandora's
17 box here, and it's best we try to keep it
18 covered up.

19 In your reports, you showed that the
20 dioxin is declining and the wood duck egg
21 viability has improved. But I got -- I'm
22 wondering about some other things, though,
23 because your -- it seems like your report
24 showed you had a concern about otters and
25 birds.

1 Is there any hard data, any analysis
2 actually been performed on otters or birds,
3 other than wood ducks, birds that strictly
4 feed on fish, like cormorants, kingfishers,
5 blue herons, that -- you know, is that a
6 concern in those species, or is it just --
7 RANDY BRYANT: Well, the bird species that I
8 know the Fish and Wildlife Service has done
9 studies on included, yeah, the wood duck, and
10 they've also been looking at osprey eggs on
11 some of those studies. As far as river
12 otters, no.

13 I mean, like, I -- normally in the
14 Superfund program we don't normally go out
15 and catch otters and either, you know, feed
16 them contaminants or, you know, kill them and
17 dissect them and see what's up with them. We
18 don't typically do that. I mean, I suppose
19 it has been done in a few places, but we
20 don't typically do that. We try to do it
21 more on what has been done in previous
22 studies and lab studies and what we know just
23 about environmental toxicology, so we can try
24 to avoid, you know, having to capture and
25 kill some of these higher level animals to

1 find out for sure.

2 CHRIS SMITH: My other question as far as
3 some of the remedial steps that you're
4 proposing about, say, putting a layer of sand
5 on the bottom of the creek, how will that
6 work on the slopes of the creek where you've
7 got a fairly steep slope? How would you
8 contain the sand there where it sticks to the
9 slopes and doesn't slide down?

10 RANDY BRYANT: Well, that's one of the
11 reasons that we're focusing on a thin-layer
12 cap, because we observed that when we tried
13 to do that thicker layer, where we had, like,
14 the hog fuel and then sand on top of that,
15 that ended up being like about a foot-thick
16 layer, and that's when we did start seeing
17 more side slope failures where you have a
18 cap, you know, sliding off so you would have
19 stuff exposed again. So, that thicker layer
20 is really going to be an issue. That's why
21 we're thinking more of a thin layer.

22 CHRIS SMITH: How do you make hog fuel sink?

23 RANDY BRYANT: You soak it in water. I
24 forget the period of time. But they soaked
25 it in water till it was pretty dense. And

1 when they did the pilot testing, I believe it
2 was, like, eighty to eighty-five percent of
3 the hog fuel did sink down, and the rest of
4 it tended to be caught down like at the booms
5 we had at the downstream edge.

6 CHRIS SMITH: Okay. Thank you.

7 RANDY BRYANT: Sure. Do we have any other
8 questions?

9 SAM STYONS: I'm not as technical. I'm a
10 former banker here, and retired, and actually
11 I've got a job I don't know how I got. It's
12 interim town manager now for the Town of
13 Plymouth, which I wasn't looking for. We are
14 awfully concerned about the health of our
15 citizens here as it relates to whatever
16 happens with Weyerhaeuser/Domtar. We've been
17 good friends of them over the years, and
18 they've certainly been an economic stemness
19 to our community; however, we are learning
20 more and more about some health problems that
21 we think may be directly, if not indirectly,
22 related to that plant over time.

23 I'm not as technical as Chris, and not
24 as knowledgeable about fish as Mr. Pratt;
25 however, I do remember from chemistry, things

1 had half lives, as I remember, which is how
2 long it took them to go away naturally.

3 You didn't mention how long if you don't
4 do anything before we won't have a level
5 that's a problem of dioxin, if it has a half
6 life. Could you address that? And being
7 somewhat familiar with these streams and
8 creeks and looking at this picture here where
9 I think these guys are spraying sand --

10 Is that sand or chips? That's probably
11 sand.

12 RANDY BRYANT: That's sand.

13 SAM STYONS: -- it appears that there's a
14 tremendous sediment problem there. If I --
15 we're in one of the counties that's under
16 CAMA. If I put a little bit of sand in the
17 river, they put me in jail. And you're
18 talking about putting a whole lot of sand in
19 the river that looks like it's floating in
20 the water column and it's going to come down
21 the river. So it doesn't -- didn't look like
22 a good plan to me.

23 And it may be that the best plan is to
24 do nothing, if there is, in fact, a
25 reasonable period of time that, based on what

1 you know now, this is probably going to go
2 away and you can prevent further accumulation
3 of this problem by whatever that other group
4 you're talking about is supposed to be
5 monitoring. And like Russell Lee said, we
6 would love to have the \$9,000,000.00.

7 RANDY BRYANT: All right. There's several
8 things that I'm going to address. I'll take
9 one of the latter ones. With the addition of
10 the sand, like with the pilot test, the sand
11 tended to sink pretty quickly. You have some
12 of the fine particles that were suspended in
13 the water column, but you weren't seeing
14 those impacts very far down at all from the
15 test area. And while you might have an
16 immediate issue with turbidity right where
17 you applied the sand, it's not like dioxin
18 that was stirred up would be present
19 potentially for several weeks in the water
20 column.

21 With the sand, that is a very short-term
22 localized issue. So I'm pretty comfortable
23 with the lack of significant impacts from
24 applying the sand. I think it's better to
25 have applied it than to have done nothing.

1 The question about half life, the dioxin
2 and organic contaminants like that, they last
3 a long time. We're talking about what we
4 might expect to see with natural recovery,
5 we're talking about with just natural
6 sedimentation, you know, coming down off the
7 fields into the creek and slowly covering in
8 this area. And with natural sedimentation,
9 we were talking about, like, a hundred years.

10 I'm not sure about the actual just plain
11 old decay of dioxin. It's a persistent
12 contaminant. So I can't really get to the
13 idea of what the half life would be. But
14 sedimentation, you know, would cover it. And
15 what that would do is reduce or prevent the
16 little critters from coming in contact with
17 it.

18 But that's what we're trying to do. If
19 we can control it at that very bottom level,
20 then the bigger things that are feeding on
21 the smaller organisms will take in less
22 dioxin, and then everything above them will
23 be taking in less.

24 EDDIE MCNAIR: I'm Eddie McNair, and I have a
25 question. If I understood correctly, you

1 said the heaviest concentration was from MT-3
2 to MT-6.

3 RANDY BRYANT: That's right.

4 EDDIE MCNAIR: Okay. When you did your test,
5 how far south of 64 was the test taken?

6 RANDY BRYANT: They went all the way into the
7 confluence of the river.

8 EDDIE MCNAIR: Okay. And of what level were
9 they on the south side?

10 RANDY BRYANT: On the south side, once you
11 get down below MT-6, you're looking at a
12 maximum probably in the low -- we have one
13 part -- we have greater than one part per
14 billion above MT-6. We're looking at
15 something like half that or lower on that
16 lower stretch.

17 So you're talking, instead of one part
18 per billion or five parts per billion in the
19 upstream reach, in the downstream reach
20 you're talking about, like .5 or .4 or .3, .2
21 or .1. So -- and that's downstream from MT-
22 6, so you're moving further down the creek
23 towards the river.

24 EDDIE MCNAIR: Okay, now, I'm going the
25 opposite direction.

1 RANDY BRYANT: Okay. You're talking about
2 going from MT-6 up to 64?

3 SAM STYONS: He's above 64 about a mile.

4 RANDY BRYANT: Above --

5 MS. MILLER: He's going down to 64. He's
6 asking down to 64.

7 EDDIE MCNAIR: Right.

8 RANDY BRYANT: Down to 64 or --

9 EDDIE MCNAIR: Beyond --

10 SAM STYONS: You're talking about McNair
11 Road, aren't you, Eddie?

12 EDDIE MCNAIR: Yes.

13 RANDY BRYANT: Much, much, much lower once
14 you get up here. MT-3 is the extent of where
15 we have contaminants that are high enough to
16 be concerned about. As you go further in
17 this direction, the direction you're asking
18 about, upstream, at this point, as you get
19 approaching Highway 64, you're getting down
20 to no detects.

21 EDDIE MCNAIR: Okay, good. Thanks.

22 WADE ROGERS: Wade Rogers. What's the
23 highest level of dioxin that you've found?

24 RANDY BRYANT: It's about six parts per
25 billion.

1 WADE ROGERS: Six parts per billion, and you
2 want to get this down to one part per
3 billion?

4 RANDY BRYANT: Yes.

5 WADE ROGERS: And this is an area about a
6 mile and a half long?

7 RANDY BRYANT: It's a little over a mile.

8 WADE ROGERS: That nobody fishes in, nobody
9 goes in there but the birds?

10 RANDY BRYANT: Somebody could go up there.

11 WADE ROGERS: But you would have to have a
12 very low boat to get under the bridge and
13 all.

14 RANDY BRYANT: That's true. I mean, that's
15 -- the fishing access is kind of limited on
16 the creek when you've got at least two or
17 three either road or railroad bridges you
18 have to pass under to get up the creek.

19 WADE ROGERS: This one part per billion, is
20 this a state level or EPA level or federal
21 level?

22 RANDY BRYANT: Well, EPA is -- this is U.S.
23 EPA, so --

24 WADE ROGERS: Okay. I know at the time when
25 the guru that decided that dioxin was so

1 poisonous to everybody, North Carolina set
2 their dioxin level lower than the federal
3 government did. Of course, two years later,
4 the guru that said it was so bad for you
5 said, "Hey, it don't hurt you all that bad."
6 And at that time, North Carolina stayed at
7 eleven, but they didn't have a meter that
8 would measure it.

9 I'm a forty-year employee and I'm
10 retired, and I agree with Russell Lee, leave
11 it alone. It's -- you said it's -- didn't
12 you say it had dropped -- been reduced by
13 five times in the last twenty years?

14 RANDY BRYANT: Yeah. Now, that's over kind
15 of a broad area that kind of encompasses the
16 creek and the river. It's not specifically
17 in the creek at a given location, but just,
18 like, in this general area, you know, where
19 ducks, either wood ducks, osprey, or whatever
20 could come in contact with it.

21 WADE ROGERS: And you can soak that hog fuel
22 all you want to, but you're going to have to
23 put a log boom up, because you're going to
24 have one layer of hog fuel laying on top of
25 the creek, and it will eventually work right

1 on out to the river.

2 I agree with what they said to leave it
3 alone and, if you've got the money you want
4 to spend, give it to Washington County and
5 Martin County; they can use it. Thank you.
6 RANDY BRYANT: All right, just one thing I
7 wanted to point out. With our preferred
8 alternative, we're not talking about using
9 the hog fuel. It's one of the options that
10 we considered, but we're talking about just a
11 thin layer of sand on -- hog fuel is one of
12 the other alternatives.

13 WADE ROGERS: It will go away in time.

14 BRIAN ROTH: Good evening. My name is
15 Brian Roth. I'm the mayor of Plymouth. And
16 our community has gone through this for many
17 years. And obviously a lot of our local
18 citizens work at Weyerhaeuser and now Domtar,
19 as well. And those facilities both are
20 extremely important to our local community.

21 And all these issues are of concern, how
22 it's going to be mitigated, the environment,
23 the impacts to the environment itself, and
24 also, as our town manager said, impacts to
25 our citizens.

1 But there's another impact that I'm
2 going to bring up that probably other people
3 might not be thinking about. And it's not
4 necessarily part of your preferred or any of
5 your alternatives. But that's the negative
6 impact that this whole process has had on our
7 local economy over many years as far as the
8 fishing moratoriums, public perception, not
9 just in our community but the perception --

10 I want to go on record. That's why I'm
11 up here. Our folks probably pretty much
12 understand this.

13 -- the perception outside of our
14 community. We have very large bass
15 tournaments. Lots of different types of
16 fishing takes place out there. A lot of
17 different types of enjoyment of the river can
18 and should be taking place, but we have a --
19 there is a stigma attached to this river,
20 particularly the lower Roanoke River, based
21 on what has happened.

22 And it is going to be very important how
23 that's miti -- that issue is mitigated going
24 forward, as well. I know there's an effort
25 with EPA and NOAA and so on to work through

1 that.

2 But there again, I just want to go on
3 record that there is a very serious, strong
4 negative impact economically and perception-
5 wise that has taken place here in conjunction
6 with this project.

7 And we do want to continue our support
8 of Weyerhaeuser and Domtar both. They're
9 vitally critical to the health of our
10 economy, as well. But all that needs to be
11 taken into consideration, not necessarily
12 picking an alternative but this project,
13 mediation project, in a large sense. Thank
14 you.

15 RANDY BRYANT: Maybe that speaks to, "We need
16 to just try to get on with it and make a
17 decision and get something going to try to
18 finish off the process," kind of what you're
19 getting at; that would be helpful if we can
20 just -- the faster we can get through the
21 process and call it done?

22 BRIAN ROTH: Not necessarily. I just
23 wanted you-all to take that message back,
24 that when we get to the reparation portion of
25 the project, which some of that has already

1 taken place, but those discussions will
2 continue over probably twelve months to a
3 couple of years there --

4 RANDY BRYANT: Oh, I see.

5 BRIAN ROTH: -- and that's where these
6 folks here are saying this \$9,000,000.00 is
7 not insignificant; we have been economically
8 injured as a community, enjoying the river
9 and the resources that has been denied to
10 those folks who like to use the river.

11 CHRIS SMITH: Chris Smith again. I guess
12 hitchhiking on what Mayor Roth said, the
13 likelihood of seeing canoe platforms on Welch
14 Creek is pretty remote, then, if somebody
15 wanted to be canoeing down there. It's like
16 it's going to be one of those areas that you
17 would be encouraged not to spend a lot of
18 time on.

19 RANDY BRYANT: Actually, canoeing would be
20 fine. I mean, I understand there's a
21 difference between, you know, what's
22 practical and what people perceive it to be.
23 But just from a practical perspective,
24 canoeing would be fine. It's more of an
25 issue with the water moccasins.

1 Do we have any other comments? That's
2 fine, if you do. If we don't, then I would
3 say, thanks for coming -- did you have a
4 comment?

5 DAVID JONES: My name is David Jones. I'm
6 retired. I was a little bit late coming in.
7 I didn't get the whole situation about what's
8 going on, but what's going to happen if you
9 do nothing, and what is going to -- what good
10 is it going to do, if you do something? And
11 is that a grant that's paying for this?

12 RANDY BRYANT: All right, so that's three
13 things. If we did nothing, then you would
14 see what you have now. You would have the
15 fish consumption advisories; they're going to
16 be in place. And they're going to be in
17 place even if we do our preferred
18 alternative. Those advisories are going to
19 continue for a little while, but I would
20 expect that with the remedy put in place that
21 they should come off faster.

22 As far as who's paying for it or a grant
23 or whatnot, no, with the Superfund program,
24 the company itself has got to pay for it.
25 It's not federal money that would actually

1 get the work done, Domtar would be the one
2 that would be implementing and paying for the
3 work under EPA oversight.

4 The only time the federal government
5 does it is if, like to say, that was actually
6 an abandoned, and nobody -- the company had
7 gone bankrupt and there was nobody on it,
8 then the federal government could come in and
9 spend its money for studies and cleanups, but
10 as it stands now, it would be Domtar.

11 And keeping in mind, also, these are
12 cost estimates. I wouldn't get hung up on
13 the exact dollar amount, but what's important
14 is the relative difference in cost between
15 the alternatives.

16 Obviously, no action is the cheapest
17 thing, doing some more monitoring would be a
18 little bit more expensive, doing a thin-layer
19 cap plus monitoring would be another step in
20 expenses, and then on up to dredging which is
21 the most expensive one, because you've got
22 material to move and landfill and you've got
23 water to treat.

24 So, again, the costs are more just to
25 illustrate the relative differences between

1 them, not necessarily exact dollar amounts.
2 And, I guess, also, too, you know, those
3 costs include estimates for future monitoring
4 and maintenance.

5 So the construction up front could be
6 less, but it would still be a few million for
7 the actual construction, and then you've got
8 all that monitoring over a thirty-year period
9 that's -- we made cost estimates for.

10 DAVID JONES: It will last thirty years?

11 RANDY BRYANT: Oh, it lasts at least that
12 long, but we use thirty years as a standard,
13 kind of, time frame to compare costs.

14 DAVID JONES: Uh-huh, and could cost up to
15 \$27,000,000.00 or anywhere between?

16 RANDY BRYANT: If you tried to do that
17 dredging. If you tried to do the extensive
18 dredging, then that's when you're getting up
19 to that \$27,000,000.00.

20 DAVID JONES: So, nobody is going to have a
21 job -- I mean, are they willing to hire
22 anybody from around here to do it, in case I
23 need a job?

24 RANDY BRYANT: I'll leave that to Domtar.

25 RUSSELL LEE: Russell Lee. Are there any

1 more scheduled meetings in Martin County or
2 anywhere concerning this jo -- this project?
3 I don't feel there was sufficient public
4 announcement, because I only by coincidence
5 heard it today. I read two or three
6 newspapers regularly, and I didn't see any
7 announcements in the papers.

8 RANDY BRYANT: What we do -- oh, are you
9 finished?

10 RUSSELL LEE: Yes.

11 RANDY BRYANT: Okay. What we did on this
12 one, this particular project, is we sent out
13 mailers with fact sheets to the folks we had
14 on our mailing list. We ran an ad in the
15 Roanoke Beacon. The Enterprise Newspaper
16 called and talked to me the other day, and I
17 thought they were going to do a story. And
18 in the past, you know, we've had fact sheets
19 and public meetings for other activities out
20 there.

21 And I remember myself I sent out another
22 fact sheet back in 2005 that just kind of ran
23 through the different projects that were
24 going on including this one. So, I'm hoping
25 with the different things we've done, we've

1 gotten the word out, and --

2 RUSSELL LEE: I don't think so.

3 RANDY BRYANT: All right.

4 MITCHELL PATRICK: My name is Mitchell
5 Patrick. I'm representing Martin-Tyrell-
6 Washington District Health Department. And
7 from a public health standpoint, we would
8 like to see whichever method is going to have
9 the greatest impact on protecting the public
10 health implemented. If this alternative
11 three is the one, then that's what we would
12 like to see done. I do have one question.
13 You're talking about two to four centimeters
14 of sand?

15 RANDY BRYANT: I'm sorry. Two to four
16 inches; five to ten centimeters.

17 MITCHELL BRYANT: I'm sorry. Yeah, I meant
18 two to four inches, five to ten centimeters,
19 of sand over the bottom of this creek. And
20 it says, while a new benthic community will
21 colonize the clean substrate. Can you tell
22 me roughly how long that will take?

23 RANDY BRYANT: It would take a matter of
24 months to -- because in the pilot test, you
25 know, we did smaller scale areas. You know,

1 say roughly a hundred by a hundred where we
2 did these kind of caps, and they would --
3 they had a test area where they monitored the
4 benthos, and then they also monitored the
5 capped areas after they were put in places
6 and how quickly things came back.

7 And it tended to be a matter of months.
8 I think maybe in some cases maybe up to a
9 year, but it was generally fairly quick, a
10 matter of months.

11 MITCHELL PATRICK: Okay, thank you.

12 RANDY BRYANT: Well, folks, I think
13 we're winding down. If we are, then I would
14 say, thanks for coming out. Remember that if
15 you have any additional questions or comments
16 maybe after you get home, if you think of
17 something next week, our contact information
18 is on the fact sheet, so you should be able
19 to reach us. And if you have anything
20 immediately even here after we wrap up, just
21 come up and ask me. But, again, thanks for
22 coming out, and I hope we've been able to
23 answer at least most of your questions.

24 (The proceedings were concluded at 8:01 p.m.)

25 * * * END OF TRANSCRIPT * * *

NORTH CAROLINA

PITT COUNTY

C E R T I F I C A T E

I, Heather S. Van Dorp, CVR, Notary/Reporter,
do hereby certify that the forty-eight pages which
constitute this public hearing are a true and accurate
transcript of the proceedings.

This is the 27th day of August, 2007.

Heather S. Van Dorp, CVR
Notary Public, #19971070102

APPENDIX C: STATE CONCURRENCE LETTER



North Carolina Department of Environment and Natural Resources

Dexter R. Matthews, Director

Division of Waste Management

Michael F. Easley, Governor

William G. Ross Jr., Secretary

26 September 2007

Mr. Randy Bryant
Superfund Branch, Waste Management Division
US EPA Region IV
61 Forsyth Street, SW
Atlanta, Georgia 30303

SUBJECT: Concurrence with Record of Decision
Domtar (formerly Weyerhaeuser) Site Operable Unit #4 (Welch Creek)
Plymouth, Martin County

Dear Mr. Bryant:

The State of North Carolina, by and through its Department of Environment and Natural Resources, Division of Waste Management (hereinafter referred to as "the State"), reviewed the Record of Decision (ROD) received by the Division on 25 September 2007 for the Domtar (formerly Weyerhaeuser) Site Operable Unit #4 (Welch Creek) and concurs with the selected remedy, subject to the following conditions:

1. State concurrence on the ROD for this site is based solely on the information contained in the ROD received by the State on 25 September 2007, including the evaluation of the dredging alternatives. Should the State receive new or additional information which significantly affects the conclusions or amended remedy contained in the ROD, it may modify or withdraw this concurrence with written notice to EPA Region IV. Additionally, the State notes the comments on the draft plan by the NC Division of Marine Fisheries and the NC Wildlife Resources Commission.
2. State concurrence on this ROD in no way binds the State to concur in future decisions or commits the State to participate, financially or otherwise, in the clean up of the site. The State reserves the right to review, overview comment, and make independent assessment of all future work relating to this site.
3. If, after remediation is complete, the total residual risk level exceeds 10^{-6} , the State may require deed recordation/restriction to document the presence of residual contamination and possibly limit future use of the property as specified in NCGS 130A-310.8

The State of North Carolina appreciates the opportunity to comment on the ROD and looks forward to working with EPA on the remedy for the subject site. If you have any questions or comments, please call Mr. Nile Testerman at 919/508-8482.

Sincerely,


Dexter R. Matthews, Director
Division of Waste Management

cc: Jack Butler, Chief NC Superfund Section
David Lown, NC Superfund
Nile Testerman, NC Superfund
Fred Harris, Interim Executive Director, Wildlife Resources
Dr. Louis Daniel, Director of Marine Fisheries

Attachment 1
Ecological Risk Tables
Welch Creek
Domtar (formerly Weyerhaeuser) Site
Operable Unit 4
Plymouth, NC

Table 8-1
Ecological Lines of Evidence for the Conservative Evaluation of the Piscivorous Mammalian Endpoint
(River Otter)

ENDPOINT	COPCs	HQ EVALUATION CONSERVATIVE SCENARIO	PATTERNS OF DETECTION	RATIONALE OF ELIMINATION	FINAL COC
Piscivorous Mammalian Species	Dioxin TEQ ⁽¹⁾	HQ _{max-NOAEL} = 14 HQ _{avg-NOAEL} = 5.1 HQ _{max-LOAEL} = 1.4 HQ _{avg-LOAEL} = 0.51	100% of the modeled risk is attributable to fish in the diet. The maximum concentration in fish is 2x average background concentration.	NA	Yes
	Dioxin TEQ ⁽²⁾	HQ _{max-NOAEL} = 14 HQ _{avg-NOAEL} = 5.1 HQ _{max-LOAEL} = 1.4 HQ _{avg-LOAEL} = 0.51	100% of the modeled risk is attributable to fish in the diet. The maximum concentration in fish is 2x average background concentration.	NA	Yes
	Mercury	HQ _{max-NOAEL} = 28 HQ _{avg-NOAEL} = 7.6 HQ _{max-LOAEL} = 2.6 HQ _{avg-LOAEL} = 0.71	100% of the modeled risk is attributable to fish in the diet.	Observed mercury concentrations in fish from Welch Creek are consistent with local, regional and national background concentrations.	Yes
	Chromium	HQ _{max-NOAEL} = 0.02 HQ _{avg-NOAEL} = 0.0074 HQ _{max-LOAEL} = 0.0013 HQ _{avg-LOAEL} = 0.0005	Chromium is detected in fish but does not result in modeled HQs > 1.0 under any exposure scenario.	Given low modeled HQs in all scenarios, chromium has not been retained as a final ecological COC for this endpoint.	No

⁽¹⁾ TEQ based on I-TEFs (USEPA, 1987)

⁽²⁾ TEQ based on WHO mammalian TEFs (1998)

Conservative evaluation - maximum and average concentrations and NOAEL and LOAEL based

Table 8-2
Ecological Lines of Evidence for the Conservative Evaluation of the Piscivorous Avian Endpoint
(Great Blue Heron)

ENDPOINT	COPCs	HQ EVALUATION CONSERVATIVE SCENARIO	PATTERNS OF DETECTION	RATIONALE OF ELIMINATION	FINAL COC
Piscivorous Avian Species	Dioxin TEQ ⁽¹⁾ (Unadjusted TRV)	HQ _{max} -NOAEL = 0.66 HQ _{avg} -NOAEL = 0.23 HQ _{max} -LOAEL = 0.07 HQ _{avg} -LOAEL = 0.02	Dioxin TEQ ¹ is detected in fish, wetland soil and wetland water but does not result in modeled HQs > 1.0 under any exposure scenario.	Given low modeled HQs in all scenarios, dioxin TEQ is not retained as a final COC for this endpoint.	No
	Dioxin TEQ ⁽¹⁾ (Adjusted TRV)	HQ _{max} -NOAEL = 6.6 HQ _{avg} -NOAEL = 2.3 HQ _{max} -LOAEL = 0.66 HQ _{avg} -LOAEL = 0.23	Wetland soil and fish each attribute approximately 50% of the modeled risk for this endpoint. The maximum sediment concentration is 4x greater than the average concentration. The maximum fish concentration is over 3x greater than the average concentration. Only modeled exposure using the more conservative NOAEL value resulted in a HQ greater than 1.0.	NA	Yes
	Dioxin TEQ ⁽²⁾ (Unadjusted TRV)	HQ _{max} -NOAEL = 2.7 HQ _{avg} -NOAEL = 0.69 HQ _{max} -LOAEL = 0.27 HQ _{avg} -LOAEL = 0.07	Wetland soil and fish each attribute approximately 50% of the modeled risk. The maximum sediment concentration is 4x greater than the average concentration. The maximum fish concentration is over 3x greater than the average concentration. Only modeled exposure using the maximum observed concentration resulted in a HQ greater than 1.0.	NA	Yes
	Dioxin TEQ ⁽²⁾ (Adjusted TRV)	HQ _{max} -NOAEL = 27 HQ _{avg} -NOAEL = 6.9 HQ _{max} -LOAEL = 2.7 HQ _{avg} -LOAEL = 0.69	Wetland soil and fish each attribute approximately 50% of the modeled risk for this endpoint. The maximum sediment concentration is 4x greater than the average concentration. The maximum fish concentration is over 3x greater than the average concentration.	NA	Yes
	Mercury	HQ _{max} -NOAEL = 37 HQ _{avg} -NOAEL = 10 HQ _{max} -LOAEL = 3.7 HQ _{avg} -LOAEL = 1.0	99% of the modeled risk is attributable to fish in the diet.	Observed mercury concentrations in fish from Welch Creek are consistent with local, regional and national background concs.	Yes
	Chromium	HQ _{max} -NOAEL = 0.06 HQ _{avg} -NOAEL = 0.02 HQ _{max} -LOAEL = 0.01 HQ _{avg} -LOAEL = 0.004	Chromium is detected in wetland soil and fish but does not result in modeled HQs > 1.0 under any exposure scenario.	Given low modeled HQs in all scenarios, chromium is not retained as a final COC for this endpoint.	No

⁽¹⁾ TEQ based on I-TEFs (USEPA, 1987)

⁽²⁾ TEQ based on WHO avian TEFs (1998)

Conservative evaluation - maximum and average concentrations and NOAEL and LOAEL based

Shaded rows indicate use of the more conservative adjusted NOAEL (1×10^{-6} mg/kg-day) and LOAEL (1×10^{-4} mg/kg-day).

Table 8-3
Ecological Lines of Evidence for the Conservative Evaluation of the Insectivorous/Herbivorous Avian
Endpoint (Normal Wood Duck)

ENDPOINT	COPCs	HQ EVALUATION CONSERVATIVE SCENARIO	PATTERNS OF DETECTION	RATIONALE OF ELIMINATION	FINAL COC
Insectivorous/Herbivorous Avian Species (normal)	Dioxin TEQ ⁽¹⁾ (Unadjusted TRV)	HQ _{max} -NOAEL = 1.0 HQ _{avg} -NOAEL = 0.25 HQ _{max} -LOAEL = 0.10 HQ _{avg} -LOAEL = 0.03	The modeled risk for this endpoint is 56% attributable to sediment and 37% attributable to plants.	Given low modeled HQs (=1.0) in all scenarios, dioxin TEQ has not been retained as a final ecological COC for this endpoint.	No
	Dioxin TEQ ⁽¹⁾ (Adjusted TRV)	HQ _{max} -NOAEL = 10 HQ _{avg} -NOAEL = 3.0 HQ _{max} -LOAEL = 1.0 HQ _{avg} -LOAEL = 0.3	The modeled risk for this endpoint is 55% attributable to sediment and 38% attributable to plants. The use of the more conservative NOAEL and LOAEL values resulted in a HQ greater than 1.0.	NA	Yes
	Dioxin TEQ ⁽²⁾ (Unadjusted TRV)	HQ _{max} -NOAEL = 4.7 HQ _{avg} -NOAEL = 1.0 HQ _{max} -LOAEL = 0.47 HQ _{avg} -LOAEL = 0.11	The modeled risk for this endpoint is 55% attributable to sediment and 38% attributable to plants. Only modeled exposure using the maximum observed concentration resulted in a HQ greater than 1.0.	NA	Yes
	Dioxin TEQ ⁽²⁾ (Adjusted TRV)	HQ _{max} -NOAEL = 47 HQ _{avg} -NOAEL = 11 HQ _{max} -LOAEL = 5.0 HQ _{avg} -LOAEL = 1.1	The modeled risk for this endpoint is 55% attributable to sediment and 38% attributable to plants. The use of the more conservative NOAEL and LOAEL values resulted in a HQ greater than 1.0.	NA	Yes
	Mercury	HQ _{max} -NOAEL = 4.2 HQ _{avg} -NOAEL = 1.6 HQ _{max} -LOAEL = 0.41 HQ _{avg} -LOAEL = 0.16	The modeled risk is 80% attributable to sediment and 20% attributable to invertebrates. Only modeled exposures compared to the NOAEL resulted in a HQ greater than 1.0.	NA	Yes
	Chromium	HQ _{max} -NOAEL = 0.53 HQ _{avg} -NOAEL = 0.11 HQ _{max} -LOAEL = 0.13 HQ _{avg} -LOAEL = 0.03	Chromium is detected in sediment and invertebrates but does not result in modeled HQs > 1.0 under any exposure scenario.	Given low modeled HQs (=1.0) in all scenarios, chromium has not been retained as a final ecological COC for this endpoint.	No
	Zinc	HQ _{max} -NOAEL = 0.43 HQ _{avg} -NOAEL = 0.24 HQ _{max} -LOAEL = 0.05 HQ _{avg} -LOAEL = 0.03	Zinc is detected in all media but does not result in modeled HQs > 1.0 under any exposure scenario.	Given low modeled HQs (=1.0) in all scenarios, zinc has not been retained as a final ecological COC for this endpoint.	No

⁽¹⁾ TEQ based on I-TEFs (USEPA, 1987)

⁽²⁾ TEQ based on WHO avian TEFs (1998)

Conservative evaluation - maximum and average concentrations and NOAEL and LOAEL based

Shaded rows indicate the use of the more conservative adjusted NOAEL (1×10^{-4} mg/kg-day) and LOAEL (1×10^{-5} mg/kg-day).

Table 8-4
Ecological Lines of Evidence for the Conservative Evaluation of the Insectivorous/Herbivorous Avian
Endpoint (Breeding Female Wood Duck)

ENDPOINT	COPCs	HQ EVALUATION CONSERVATIVE SCENARIO	PATTERNS OF DETECTION	RATIONALE OF ELIMINATION	FINAL COC
Insectivorous/Herbivorous Avian Species (Breeding)	Dioxin TEQ ⁽¹⁾ (Unadjusted TRV)	HQ _{max-NOAEL} = 0.89 HQ _{avg-NOAEL} = 0.24 HQ _{max-LOAEL} = 0.09 HQ _{avg-LOAEL} = 0.02	The modeled risk for this endpoint is 64% attributable to sediment, 21% attributable to plants, and 14% attributable to invertebrates.	Given low modeled HQs (=1.0) in all scenarios, dioxin TEQ has not been retained as a final ecological COC for this endpoint.	No
	Dioxin TEQ ⁽²⁾ (Adjusted TRV)	HQ _{max-NOAEL} = 9.0 HQ _{avg-NOAEL} = 2.4 HQ _{max-LOAEL} = 0.89 HQ _{avg-LOAEL} = 0.24	The modeled risk for this endpoint is 64% attributable to sediment, 21% attributable to plants, and 14% attributable to invertebrates. Only modeled exposure compared to the more conservative NOAEL resulted in a HQ greater than 1.0.	NA	Yes
	Dioxin TEQ ⁽²⁾ (Unadjusted TRV)	HQ _{max-NOAEL} = 4.1 HQ _{avg-NOAEL} = 1.1 HQ _{max-LOAEL} = 0.41 HQ _{avg-LOAEL} = 0.11	The modeled risk for this endpoint is 63% attributable to sediment, 22% attributable to plants, and 14% attributable to invertebrates. Only modeled exposure compared to the NOAEL resulted in a HQ greater than 1.0.	NA	Yes
	Dioxin TEQ ⁽²⁾ (Adjusted TRV)	HQ _{max-NOAEL} = 41 HQ _{avg-NOAEL} = 11 HQ _{max-LOAEL} = 4.1 HQ _{avg-LOAEL} = 1.1	The modeled risk for this endpoint is 64% attributable to sediment, 21% attributable to plants, and 14% attributable to invertebrates.	NA	Yes
	Mercury	HQ _{max-NOAEL} = 4.9 HQ _{avg-NOAEL} = 2.2 HQ _{max-LOAEL} = 0.49 HQ _{avg-LOAEL} = 0.22	The modeled risk is 67% attributable to sediment and 33% attributable to invertebrates. Only modeled exposures compared to the NOAEL resulted in a HQ greater than 1.0.	NA	Yes
	Chromium	HQ _{max-NOAEL} = 0.54 HQ _{avg-NOAEL} = 0.12 HQ _{max-LOAEL} = 0.14 HQ _{avg-LOAEL} = 0.03	Chromium is detected in sediment and invertebrates but does not result in modeled HQs > 1.0 under any exposure scenario.	Given low modeled HQs (=1.0) in all scenarios, chromium has not been retained as a final ecological COC for this endpoint.	No
	Zinc	HQ _{max-NOAEL} = 0.46 HQ _{avg-NOAEL} = 0.32 HQ _{max-LOAEL} = 0.05 HQ _{avg-LOAEL} = 0.04	Zinc is detected in all media but does not result in modeled HQs > 1.0 under any exposure scenario.	Given low modeled HQs (=1.0) in all scenarios, zinc has not been retained as a final COPC for this endpoint.	No

⁽¹⁾ TEQ based on I-TEFs (USEPA, 1987)

⁽²⁾ TEQ based on WHO avian TEFs (1998)

Conservative evaluation - maximum and average concentrations and NOAEL and LOAEL based

Shaded rows indicate the use of the more conservative adjusted NOAEL (1×10^{-6} mg/kg-day) and LOAEL (1×10^{-5} mg/kg-day).

Table 8-5
Ecological Lines of Evidence for the Conservative Evaluation of the Insectivorous Avian Endpoint
(Barn Swallow)

ENDPOINT	COPCs	HQ EVALUATION CONSERVATIVE SCENARIO	PATTERNS OF DETECTION	RATIONALE OF ELIMINATION	FINAL COC
Insectivorous Avian Species	Dioxin TEQ ⁽¹⁾ (Unadjusted TRV)	HQ _{max-NOAEL} = 0.27 HQ _{avg-NOAEL} = 0.14 HQ _{max-LOAEL} = 0.03 HQ _{avg-LOAEL} = 0.01	Dioxin TEQ was detected in invertebrates and surface water but does not result in modeled HQs > 1.0 under any exposure scenario.	Given low modeled HQs (=1.0) in all scenarios, dioxin TEQ is not retained as a final COC for this endpoint.	No
	Dioxin TEQ ⁽¹⁾ (Adjusted TRV)	HQ _{max-NOAEL} = 2.7 HQ _{avg-NOAEL} = 1.4 HQ _{max-LOAEL} = 0.27 HQ _{avg-LOAEL} = 0.14	The modeled risk for this endpoint is greater than 99% attributable to the dioxin TEQ concentration in invertebrates. Use of the more conservative NOAEL resulted in a HQ greater than 1.0.	NA	Yes
	Dioxin TEQ ⁽²⁾ (Unadjusted TRV)	HQ _{max-NOAEL} = 1.3 HQ _{avg-NOAEL} = 0.68 HQ _{max-LOAEL} = 0.13 HQ _{avg-LOAEL} = 0.07	The modeled risk for this endpoint is greater than 99% attributable to the dioxin TEQ concentration in invertebrates. Only modeled exposure using the maximum observed concentration resulted in a HQ greater than 1.0.	NA	Yes
	Dioxin TEQ ⁽²⁾ (Adjusted TRV)	HQ _{max-NOAEL} = 13.0 HQ _{avg-NOAEL} = 6.8 HQ _{max-LOAEL} = 1.3 HQ _{avg-LOAEL} = 0.68	The modeled risk for this endpoint is greater than 99% attributable to the dioxin TEQ concentration in invertebrates. Use of the more conservative LOAEL resulted in a HQ greater than 1.0.	NA	Yes
	Mercury	HQ _{max-NOAEL} = 1.4 HQ _{avg-NOAEL} = 0.90 HQ _{max-LOAEL} = 0.14 HQ _{avg-LOAEL} = 0.09	The modeled risk for this endpoint is greater than 99% attributable to the mercury concentration in invertebrates. Only modeled exposure using the maximum observed concentration resulted in a HQ greater than 1.0.	Observed mercury concentrations in emergent insects from Welch Creek are consistent with background reported in the literature.	Yes
	Chromium	HQ _{max-NOAEL} = 0.07 HQ _{avg-NOAEL} = 0.03 HQ _{max-LOAEL} = 0.02 HQ _{avg-LOAEL} = 0.01	Chromium is detected in the invertebrates but does not result in modeled HQs > 1.0 under any exposure scenario.	Given low modeled HQs (=1.0) in all scenarios, chromium is not retained as a final COC for this endpoint.	No
	Zinc	HQ _{max-NOAEL} = 0.19 HQ _{avg-NOAEL} = 0.16 HQ _{max-LOAEL} = 0.02 HQ _{avg-LOAEL} = 0.02	Zinc is detected in surface water and invertebrates but does not result in modeled HQs > 1.0 under any exposure scenario.	Given low modeled HQs (=1.0) in all scenarios, zinc is not retained as a final COC for this endpoint.	No

⁽¹⁾ TEQ based on I-TEFs (USEPA, 1987)

⁽²⁾ TEQ based on WHO avian TEFs (1998)

Conservative evaluation - maximum and average concentrations and NOAEL and LOAEL based

Shaded rows indicate the use of the more conservative adjusted NOAEL (1 x 10⁻⁶ mg/kg-day) and LOAEL (1 x 10⁻⁵ mg/kg-day).

Table 8-6
Ecological Lines of Evidence for the Alternative Evaluation of the Piscivorous Mammalian Endpoint
(River Otter)

ENDPOINT	COPCs	HQ EVALUATION ALTERNATIVE SCENARIO	PATTERNS OF DETECTION	RATIONALE OF ELIMINATION	FINAL COC
Piscivorous Mammalian Species	Dioxin TEQ ⁽¹⁾	HQ _{95%UCL-NOAEL} = 2.2 HQ _{avg-NOAEL} = 1.2 HQ _{95%UCL-LOAEL} = 0.22 HQ _{avg-LOAEL} = 0.12	100% of the modeled risk is attributable to fish in the diet. The maximum concentration in fish is 2x average background concentration.	NA	Yes
	Dioxin TEQ ⁽²⁾	HQ _{95%UCL-NOAEL} = 2.2 HQ _{avg-NOAEL} = 1.2 HQ _{95%UCL-LOAEL} = 0.22 HQ _{avg-LOAEL} = 0.12	100% of the modeled risk is attributable to fish in the diet. The maximum concentration in fish is 2x average background concentration.	NA	Yes
	Mercury	HQ _{95%UCL-NOAEL} = 2.4 HQ _{avg-NOAEL} = 2.3 HQ _{95%UCL-LOAEL} = 0.23 HQ _{avg-LOAEL} = 0.20	100% of the modeled risk is attributable to fish in the diet. Observed mercury concentrations in fish from Welch Creek are consistent with local, regional and national background concentrations.	NA.	Yes
	Chromium	HQ _{95%UCL-NOAEL} = 0.0015 HQ _{avg-NOAEL} = 0.0011 HQ _{95%UCL-LOAEL} = 0.000098 HQ _{avg-LOAEL} = 0.000075	Chromium is detected in fish but does not result in modeled HQs > 1.0 under any exposure scenario.	Given low modeled HQs in all scenarios, chromium has not been retained as a final ecological COC for this endpoint.	No

⁽¹⁾ TEQ based on I-TEFs (USEPA, 1987)

⁽²⁾ TEQ based on WHO mammalian TEFs (1998)

Alternative evaluation - 95%UCL and average concentrations and NOAEL and LOAEL based

**Table 8-7
Ecological Lines of Evidence for the Alternative Evaluation of the Piscivorous Avian Endpoint
(Great Blue Heron)**

ENDPOINT	COPCs	HQ EVALUATION ALTERNATIVE SCENARIO	PATTERNS OF DETECTION	RATIONALE OF ELIMINATION	FINAL COC
Piscivorous Avian Species	Dioxin TEQ ⁽¹⁾ (Unadjusted TRV)	HQ _{95%UCL-NOAEL} = 0.25 HQ _{AVG-NOAEL} = 0.13 HQ _{95%UCL-LOAEL} = 0.02 HQ _{AVG-LOAEL} = 0.01	Dioxin TEQ ¹ is detected in fish, wetland soil and wetland water but does not result in modeled HQs > 1.0 under any exposure scenario.	Given low modeled HQs in all scenarios, dioxin TEQ has not been retained as a final ecological COC for this endpoint.	No
	Dioxin TEQ ⁽¹⁾ (Adjusted TRV)	HQ _{95%UCL-NOAEL} = 2.5 HQ _{AVG-NOAEL} = 1.3 HQ _{95%UCL-LOAEL} = 0.25 HQ _{AVG-LOAEL} = 0.13	64% of modeled risk is attributed to fish in the diet with 34 % of modeled risk attributed to exposure to sediment. Use of more conservative NOAEL resulted in modeled HQ greater than 1.	NA	Yes
	Dioxin TEQ ⁽²⁾ (Unadjusted TRV)	HQ _{95%UCL-NOAEL} = 0.53 HQ _{AVG-NOAEL} = 0.78 HQ _{95%UCL-LOAEL} = 0.03 HQ _{AVG-LOAEL} = 0.01	Dioxin TEQ ² is detected in fish, wetland soil and wetland water but does not result in modeled HQs > 1.0 under any exposure scenario.	Given low modeled HQs in the alternative scenarios, dioxin TEQ has not been retained as a final ecological COC for this endpoint. Only modeled exposure using the maximum observed concentration resulted in a HQ greater than 1.0.	No
	Dioxin TEQ ⁽²⁾ (Adjusted TRV)	HQ _{95%UCL-NOAEL} = 5.3 HQ _{AVG-NOAEL} = 7.8 HQ _{95%UCL-LOAEL} = 0.3 HQ _{AVG-LOAEL} = 0.1	61 % of modeled risk is attributed to fish in the diet. 32% of modeled risk due to exposure to sediment. Use of more conservative NOAEL resulted in modeled HQ greater than 1.	NA	Yes
	Mercury	HQ _{95%UCL-NOAEL} = 7.1 HQ _{AVG-NOAEL} = 5.0 HQ _{95%UCL-LOAEL} = 0.68 HQ _{AVG-LOAEL} = 0.49	99% of the modeled risk is attributable to fish in the diet. Observed mercury concentrations in fish from Welch Creek are consistent with local, regional and national background concentrations.	NA	Yes
	Chromium	HQ _{95%UCL-NOAEL} = 0.02 HQ _{AVG-NOAEL} = 0.01 HQ _{95%UCL-LOAEL} = 0.002 HQ _{AVG-LOAEL} = 0.001	Chromium is detected in wetland soil and fish but does not result in modeled HQs > 1.0 under any exposure scenario.	Given low modeled HQs in all scenarios, chromium has not been retained as a final ecological COC for this endpoint.	No

⁽¹⁾ TEQ based on I-TEFs (USEPA, 1987)

⁽²⁾ TEQ based on WHO avian TEFs (1998)

Alternative evaluation - 95%UCL and average concentrations and NOAEL and LOAEL based

Shaded rows indicate the use of the more conservative adjusted NOAEL (1×10^{-6} mg/kg-day) and LOAEL (1×10^{-7} mg/kg-day)

Table 8-8
Ecological Lines of Evidence for the Alternative Evaluation of the Insectivorous/Herbivorous Avian
Endpoint (Normal Wood Duck)

ENDPOINT	COPCs	HQ EVALUATION ALTERNATIVE SCENARIO	PATTERNS OF DETECTION	RATIONALE OF ELIMINATION	FINAL COC
Insectivorous/Herbivorous Avian Species (normal)	Dioxin TEQ ⁽¹⁾ (Unadjusted TRV)	HQ _{95%UCL-NOAEL} = 0.12 HQ _{avg-NOAEL} = 0.03 HQ _{95%UCL-LOAEL} = 0.012 HQ _{avg-LOAEL} = 0.003	Dioxin TEQs are detected in sediment and invertebrates but do not result in modeled HQs > 1.0 under any exposure scenario.	Given low modeled HQs (=1.0) in all scenarios, dioxin TEQ is not retained as a final COC for this endpoint.	No
	Dioxin TEQ ⁽¹⁾ (Adjusted TRV)	HQ _{95%UCL-NOAEL} = 1.2 HQ _{avg-NOAEL} = 0.3 HQ _{95%UCL-LOAEL} = 0.12 HQ _{avg-LOAEL} = 0.03	Modeled risk predominantly attributable to exposure to sediment. Use of more conservative NOAEL resulted in modeled HQ greater than 1.0.	NA	Yes
	Dioxin TEQ ⁽²⁾ (Unadjusted TRV)	HQ _{95%UCL-NOAEL} = 0.73 HQ _{avg-NOAEL} = 0.13 HQ _{95%UCL-LOAEL} = 0.07 HQ _{avg-LOAEL} = 0.013	Dioxin TEQs are detected in sediment and invertebrates but do not result in modeled HQs > 1.0 under any exposure scenario.	Given low modeled HQs (=1.0) in alternative scenarios, dioxin TEQ is not retained as a final COC for this endpoint. Only modeled exposure using the maximum observed concentration resulted in a HQ greater than 1.0.	No
	Dioxin TEQ ⁽²⁾ (Adjusted TRV)	HQ _{95%UCL-NOAEL} = 7.3 HQ _{avg-NOAEL} = 1.3 HQ _{95%UCL-LOAEL} = 0.7 HQ _{avg-LOAEL} = 0.13	Modeled risk predominantly attributable to exposure to sediment. Use of more conservative NOAEL resulted in modeled HQ greater than 1.0.	NA	Yes
	Mercury	HQ _{95%UCL-NOAEL} = 0.58 HQ _{avg-NOAEL} = 0.21 HQ _{95%UCL-LOAEL} = 0.06 HQ _{avg-LOAEL} = 0.02	Mercury is detected in sediment and invertebrates but does not result in modeled HQs > 1.0 under any exposure scenario.	Given low modeled HQs (=1.0) in 6 of 8 scenarios, mercury is not retained as a final COC for this endpoint.	No
	Chromium	HQ _{95%UCL-NOAEL} = 0.08 HQ _{avg-NOAEL} = 0.02 HQ _{95%UCL-LOAEL} = 0.019 HQ _{avg-LOAEL} = 0.004	Chromium is detected in sediment and invertebrates but does not result in modeled HQs > 1.0 under any exposure scenario.	Given low modeled HQs (=1.0) in all scenarios, chromium is not retained as a final COC for this endpoint.	No
	Zinc	HQ _{95%UCL-NOAEL} = 0.08 HQ _{avg-NOAEL} = 0.06 HQ _{95%UCL-LOAEL} = 0.01 HQ _{avg-LOAEL} = 0.01	Zinc is detected in all media but does not result in modeled HQs > 1.0 under any exposure scenario.	Given low modeled HQs (=1.0) in all scenarios, zinc is not retained as a final COC for this endpoint.	No

⁽¹⁾ TEQ based on I-TEFs (USEPA, 1987)

⁽²⁾ TEQ based on WHO avian TEFs (1998) Alternative evaluation - 95%UCL and average concentrations and NOAEL and LOAEL based
 Shaded rows indicate the use of the more conservative adjusted NOAEL (1 x 10⁻⁶ mg/kg-day) and LOAEL (1 x 10⁻³ mg/kg-day)

Table 8-9
Ecological Lines of Evidence for the Alternative Evaluation of the Insectivorous/Herbivorous Avian Endpoint
(Breeding Wood Duck)

ENDPOINT	COPC	HQ EVALUATION ALTERNATIVE SCENARIO	PATTERNS OF DETECTION	RATIONALE OF ELIMINATION	FINAL COC
Insectivorous/Herbivorous Avian Species (Breeding)	Dioxin TEQ ⁽¹⁾ (Unadjusted TRV)	HQ _{95%UCL-NOAEL} = 0.12 HQ _{AVG-NOAEL} = 0.03 HQ _{95%UCL-LOAEL} = 0.012 HQ _{AVG-LOAEL} = 0.003	Dioxin TEQs are detected in sediment, plants, and invertebrates but do not result in modeled HQs > 1.0 under any exposure scenario.	Given low modeled HQs (=1.0) in all scenarios, dioxin TEQ has not been retained as a final ecological COC for this endpoint.	No
	Dioxin TEQ ⁽¹⁾ (Adjusted TRV)	HQ _{95%UCL-NOAEL} = 1.2 HQ _{AVG-NOAEL} = 0.3 HQ _{95%UCL-LOAEL} = 0.12 HQ _{AVG-LOAEL} = 0.03	Modeled risk predominantly attributable to exposure to sediment. Use of more conservative NOAEL resulted in modeled HQ greater than 1.0	NA	Yes
	Dioxin TEQ ⁽²⁾ (Unadjusted TRV)	HQ _{95%UCL-NOAEL} = 0.63 HQ _{AVG-NOAEL} = 0.13 HQ _{95%UCL-LOAEL} = 0.06 HQ _{AVG-LOAEL} = 0.01	Dioxin TEQs are detected in sediment and invertebrates but do not result in modeled HQs > 1.0 under any exposure scenario.	Given low modeled HQs (=1.0), in all scenarios, dioxin TEQ has not been retained as a final ecological COC for this endpoint.	No
	Dioxin TEQ ⁽²⁾ (Adjusted TRV)	HQ _{95%UCL-NOAEL} = 6.3 HQ _{AVG-NOAEL} = 1.3 HQ _{95%UCL-LOAEL} = 0.6 HQ _{AVG-LOAEL} = 0.1	Modeled risk predominantly attributable to exposure to sediment. Use of more conservative NOAEL resulted in modeled HQ greater than 1.0	NA	Yes
	Mercury	HQ _{95%UCL-NOAEL} = 0.71 HQ _{AVG-NOAEL} = 0.31 HQ _{95%UCL-LOAEL} = 0.07 HQ _{AVG-LOAEL} = 0.03	Mercury is detected in sediment and invertebrates but does not result in modeled HQs > 1.0 under any exposure scenario.	Given low modeled HQs (=1.0) all scenarios, mercury has not been retained as a final ecological COC for this endpoint.	No
	Chromium	HQ _{95%UCL-NOAEL} = 0.08 HQ _{AVG-NOAEL} = 0.02 HQ _{95%UCL-LOAEL} = 0.02 HQ _{AVG-LOAEL} = 0.004	Chromium is detected in sediment and invertebrates but does not result in modeled HQs > 1.0 under any exposure scenario.	Given low modeled HQs (=1.0) in all scenarios, chromium has not been retained as a final ecological COC for this endpoint.	No
	Zinc	HQ _{95%UCL-NOAEL} = 0.08 HQ _{AVG-NOAEL} = 0.06 HQ _{95%UCL-LOAEL} = 0.01 HQ _{AVG-LOAEL} = 0.01	Zinc is detected in all media but does not result in modeled HQs > 1.0 under any exposure scenario.	Given low modeled HQs (=1.0) in all scenarios, zinc has not been retained as a final COPC for this endpoint.	No

⁽¹⁾ TEQ based on I-TEFs (USEPA, 1987)

⁽²⁾ TEQ based on WHO avian TEFs (1998)

Alternative evaluation - 95%UCL and average concentrations and NOAEL and LOAEL based

Shaded rows indicate the use of the more conservative adjusted NOAEL (1×10^{-6} mg/kg-day) and LOAEL (1×10^{-5} mg/kg-day).

Table 8-10
Ecological Lines of Evidence for the Alternative Evaluation of the Insectivorous Avian Endpoint
(Barn Swallow)

ENDPOINT	CDPCs	HQ EVALUATION ALTERNATIVE SCENARIO	PATTERNS OF DETECTION	RATIONALE OF ELIMINATION	FINAL COC
Insectivorous Avian Species	Dioxin TEQ ⁽¹⁾ (Unadjusted TRV)	HQ _{95%UCL-NOAEL} = 0.32 HQ _{AVG-NOAEL} = 0.29 HQ _{95%UCL-LOAEL} = 0.03 HQ _{AVG-LOAEL} = 0.03	Dioxin TEQ was detected in invertebrates and surface water but does not result in modeled HQs > 1.0 under any exposure scenario.	Given low modeled HQs (=1.0) in all scenarios, dioxin TEQ has not been retained as a final ecological COC for this endpoint.	No
	Dioxin TEQ ⁽²⁾ (Adjusted TRV)	HQ _{95%UCL-NOAEL} = 3.2 HQ _{AVG-NOAEL} = 2.9 HQ _{95%UCL-LOAEL} = 0.32 HQ _{AVG-LOAEL} = 0.29	The modeled risk is attributable to dioxins detected in emergent insects.	NA	Yes
	Dioxin TEQ ⁽²⁾ (Unadjusted TRV)	HQ _{95%UCL-NOAEL} = 1.7 HQ _{AVG-NOAEL} = 1.5 HQ _{95%UCL-LOAEL} = 0.17 HQ _{AVG-LOAEL} = 0.15	The modeled risk for this endpoint is greater than 99% attributable to the dioxin TEQ concentration in invertebrates.	NA	Yes
	Dioxin TEQ ⁽²⁾ (Adjusted TRV)	HQ _{95%UCL-NOAEL} = 17 HQ _{AVG-NOAEL} = 15 HQ _{95%UCL-LOAEL} = 1.7 HQ _{AVG-LOAEL} = 1.5	The modeled risk is attributable to dioxins detected in emergent insects.	NA	Yes
	Mercury	HQ _{95%UCL-NOAEL} = 1.1 HQ _{AVG-NOAEL} = 0.8 HQ _{95%UCL-LOAEL} = 0.11 HQ _{AVG-LOAEL} = 0.08	The modeled risk for this endpoint is greater than 99% attributable to the mercury concentration in invertebrates. Only modeled exposure using the maximum observed concentration resulted in a HQ greater than 1.0. Observed mercury concentrations in emergent insects from Welch Creek are consistent with background reported in the literature.	NA	Yes
	Chromium	HQ _{95%UCL-NOAEL} = 0.02 HQ _{AVG-NOAEL} = 0.01 HQ _{95%UCL-LOAEL} = 0.004 HQ _{AVG-LOAEL} = 0.002	Chromium is detected in the invertebrates but does not result in modeled HQs > 1.0 under any exposure scenario.	Given low modeled HQs (=1.0) in all scenarios, chromium has not been retained as a final ecological COC for this endpoint.	No
	Zinc	HQ _{95%UCL-NOAEL} = 0.55 HQ _{AVG-NOAEL} = 0.50 HQ _{95%UCL-LOAEL} = 0.06 HQ _{AVG-LOAEL} = 0.06	Zinc is detected in surface water and invertebrates but does not result in modeled HQs > 1.0 under any exposure scenario.	Given low modeled HQs (=1.0) in all scenarios, zinc has not been retained as a final ecological COC for this endpoint.	No

⁽¹⁾ TEQ based on I-TEFs (USEPA, 1987)

⁽²⁾ TEQ based on WHO avian TEFs (1998)

Alternative evaluation - 95%UCL and average concentrations and NOAEL and LOAEL based

Shaded rows indicate the use of the more conservative adjusted NOAEL (1×10^{-6} mg/kg-day) and LOAEL (1×10^{-5} mg/kg-day).