

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

UNITED STATES OF AMERICA  
CHEMICAL SAFETY AND HAZARD  
INVESTIGATION BOARD

+ + + + +

PUBLIC MEETING ON  
BP TEXAS CITY REFINERY INVESTIGATION

Thursday, October 27, 2005

Doyle Convention Center  
2010 5th Avenue, North  
Texas City, Texas

The above-entitled public meeting was conducted  
at 6:00 p.m.

BEFORE:

CAROLYN W. MERRITT, Chairman

1 APPEARANCES:

- 2 CAROLYN W. MERRITT, Chairman and CEO
- 3 JOHN S. BRESLAND, Board Member
- 4 GARY L. VISSCHER, Board Member
- 5 CHRISTOPHER WARNER, General Counsel
- 6 MATTHEW T. DOYLE, Mayor, Texas City
- 7 DIANNA KILE
- 8 DON HOLMSTROM, Lead Investigator
- 9 GIBY JOSEPH, Investigator
- 10 JOHNNIE BANKS, Investigator
- 11 MARK KASZNIAK, Investigator

12  
13 PUBLIC SPEAKERS:

- 14 CHRIS KIGHTLINGER
- 15 JOHN WAGNER
- 16 HARRY FILLIP
- 17 MIKE WRIGHT
- 18 SONNY SANDERS
- 19 YOTASHA BARKER
- 20 DAVID WILSON
- 21 GRETCHEN BRUNER
- 22 ART KELLY
- 23 JACK PLOSS
- 24 JOE BILANCICH

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

AGENDA

ITEM	PAGE
I. Opening Remarks	4
II. Welcoming Remarks	5
III. Presentation of CSB Preliminary Findings	11
IV. Board Questions	49
V. Public Comments	60

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

P R O C E E D I N G S

CHAIRMAN MERRITT: Good evening, ladies and gentlemen. I'd ask everybody to come in please and close the door.

This community meeting of the U.S. Chemical Safety and Hazard Investigation Board will now come to order. I'm Carolyn Merritt. I'm chairman and CEO of the U.S. Chemical Safety Board. And with me tonight are our general counsel, Chris Warner; fellow Board members Gary Visscher and Mr. John Bresland.

I thank you all for being here this evening, to this most important meeting. Before I begin my opening comments, however, and in the interest of safety, I'd like to point out the exits, should there be an emergency. The ones in the back lead directly outdoors, and there is another exit behind us that leads to the outside.

I'd also ask that you turn off your cell phones, pagers, blackberries, anything else you might have that could disturb these proceedings.

I want to welcome you to the Doyle Community

1 Center in Texas City. I wish to thank the City, and in  
2 particular Mayor Matthew Doyle, for inviting us to use  
3 these wonderful facilities.

4 At this point, I would like to ask, Mayor  
5 Doyle, if you have a few words you'd like to say to us  
6 before we continue.

7 MAYOR DOYLE: Chairman Merritt, Board, I want  
8 to thank you all for being here, especially, but most of  
9 all I want to thank the community that's here to witness  
10 this tonight.

11 I think the most important thing that we'll  
12 find, at the tragedy of March 23, the CSB was on the  
13 ground the very next day, BP and their investigation group  
14 were there, along with OSHA and many other people.

15 And when we found out the emergency issuance  
16 that the CSB did to have the blue ribbon panel manned,  
17 someone like James Baker leading it up, I don't have to  
18 tell you, that's a man of great integrity, and the other  
19 members are all impeccable people that will be able to  
20 served in that blue ribbon committee.

21 That committee will probably come up with some  
22 different conclusions. When you have that many great  
23 minds in one place, they're always a few differences of  
24 opinion. But at the end of the day, the best thing that's

1 going to happen for the petrochemical workers, for the  
2 City of Texas City, and industry in the whole, will be  
3 that it's going to be a safer environment for us to work  
4 in.

5 The 23rd was a tragic day, and because of that  
6 though, when bad things happen, good does come out of it,  
7 and because of the CSB, that is going to take place. And  
8 we appreciate them being here tonight, and I appreciate  
9 you being here too. Thank you.

10 CHAIRMAN MERRITT: Thank you. At this time, we  
11 also have a representative from Congressman Ron Paul's  
12 office, Dianna Kile.

13 Would you like to say a word? There's a  
14 microphone right here, Ms. Kile.

15 MS. KILE: Good evening. Congressman Paul  
16 regrets that he's not able to be here this evening. And I  
17 would like to read a letter to the community on his  
18 behalf.

19 Dear Friends in Texas City, I wish to extend my  
20 very sincere condolences to the family and friends of the  
21 15 deceased workers, and 170 workers that were injured in  
22 the explosion of the Texas City BP plant on March 23,  
23 2005.

24 The fabric of America is woven by the hands of

1 hard working people that risk life and limb in plants just  
2 like this one every day. I am not sure if we can truly  
3 appreciate the many amenities that are produced in  
4 chemical plants around the country.

5 Our day to day lives would surely not be the  
6 same if these plants were not able to operate. So in a  
7 great way, we owe our appreciation to those who gave their  
8 lives for the production of these commodities.

9 We know that tragedies like the one in Texas  
10 City will never be forgotten, but it is my hope that we  
11 can learn from this experience, and the lives lost will  
12 not be in vain. Sincerely, Congressman Ron Paul.

13 CHAIRMAN MERRITT: Thank you very much.

14 The Chemical Safety Board has called this  
15 meeting, and invited the public, in order to brief you,  
16 the public, on the latest information the CSB has in our  
17 continuing investigation of the tragic accident that  
18 occurred at the BP Texas City facility on March 23, 2005.

19 Our investigators will shortly present their  
20 preliminary findings. And these are preliminary findings.

21 This investigation is still underway, and will continue  
22 for many more months.

23 After that, we will provide a period for public  
24 comment. We invite anyone who would like to speak to this

1 panel -- to this Board, to please feel free to do so. We  
2 ask that you please write down your name -- so that we can  
3 introduce you clearly and properly -- on the sign-up  
4 sheet, and please limit your comments to five minutes so  
5 that everyone can have their say.

6 We take all of these comments very seriously,  
7 and they will be included and considered as our  
8 investigation moves forward. A stenographer is here with  
9 us this evening and will be making an official record of  
10 these proceedings. A summary of these proceedings will be  
11 placed on our website at [www.cbg.gov](http://www.cbg.gov) within the next  
12 couple of weeks.

13 Our investigation indicates 15 were killed and  
14 170 other workers were injured, many of them very  
15 seriously. The Board members and the staff of the  
16 Chemical Safety Board express our sorrow to the victims,  
17 and our condolences to their friends and loved ones for  
18 those who lost their lives in this tragedy.

19 We all know we can't undo what has been done.  
20 But in conducting this investigation, we at the Chemical  
21 Safety Board hope to fulfill our mission of preventing  
22 similar accidents from happening in the future, not only  
23 here in Texas City, but throughout the oil refinery, and  
24 also the broader industry of this country.



1           The Chemical Safety Board is not an enforcement  
2 agency; we don't issue fines or penalties. Our mission is  
3 as an investigative body to investigate accidents. We  
4 make the findings known to the public and we issue formal  
5 safety recommendations in hopes of being able to prevent  
6 this kind of accident from happening again anywhere else,  
7 and then we follow up on those recommendations to make  
8 sure that they've been adopted.

9           In addition to the March 23 incident, we're  
10 continuing to look at subsequent accidents that occurred  
11 at the BP facility in Texas City on July 28 and August 10.

12       These also impacted the community, although there were no  
13 casualties.

14           In the course of the investigation to date, we  
15 have received good cooperation from BP. The Chemical  
16 Safety Board wishes to express its thanks to them for this  
17 cooperation. Without it, this investigation would have  
18 been more difficult and taken much longer.

19           On August 27, the Chemical Safety Board took  
20 the unprecedented step of issuing our first urgent safety  
21 recommendation ever, issued even while the investigation  
22 is continuing. We asked BP to appoint an independent blue  
23 ribbon panel to examine the corporate and facility culture  
24 of all refinery operations in North America to identify

1 other reasons why this tragic event may have occurred.

2 BP has taken that recommendation to heart,  
3 announcing that just this past Monday, a diverse and  
4 distinguished panel headed up by former Secretary of State  
5 James Baker. I spoke with Secretary Baker on Sunday  
6 evening. He pledged to lead a thorough, no holds barred  
7 investigation of all the key corporate safety culture  
8 issues and oversight systems at BP. The Chemical Safety  
9 Board will be following the panel's work closely.

10 Just yesterday, we also issued two additional  
11 urgent safety recommendations to the petroleum industry  
12 through two industry trade groups, the American Petroleum  
13 Institute and the National Petro-Chemical and Refiners  
14 Association. We know that all 15 workers who died in this  
15 accident on March 23 were located in a temporary trailer,  
16 or in temporary trailers, placed too close to the  
17 hazardous process unit at this refinery.

18 We've urgently recommended that the API develop  
19 new industry guidance to ensure the safe placement of  
20 occupied trailers and similar temporary structures away  
21 from hazardous areas. In addition, we recommended that  
22 the industry alert all refining facilities of the need to  
23 immediately remove temporary structures from hazardous  
24 operating areas. These recommendations have the potential

1 of saving many other lives in the future.

2           Shortly, we will hear a report from the  
3 investigative team. At this time, I would like to  
4 introduce them. This team is heading up by Bill Hoyle,  
5 our investigative manager, and Don Holmstrom. Both of  
6 these gentlemen have a great deal of experience in  
7 refinery operations and safety management for the  
8 excellent -- and I want to thank you for the excellent  
9 work that you have already done.

10           At this time, I'd like to turn the floor over  
11 to Mr. Holmstrom and his team so they present this  
12 preliminary report to the community. Thank you.

13           MR. HOLMSTROM: Thank you, Madam Chair.

14           It is our privilege to be here and present our  
15 findings to the Board and to the community. I want to  
16 recognize the members of the CSB team investigating the BP  
17 incident. They are Cheryl McKenzie, Francisco Altamirano,  
18 Giby Joseph, Johnnie Banks and Mark Kaszniak. I would  
19 also like to thank BP and OSHA for their cooperation  
20 during our investigation.

21           This accident is the biggest and most complex  
22 investigation ever undertaken by the Chemical Safety  
23 Board. The investigation team to date spent four and a  
24 half months in the field.

1           We have conducted over 300 interviews; reviewed  
2 over 5,000 documents; thoroughly investigated the incident  
3 scene; measured blast damage; examined operating records  
4 during the start up, including pressures, levels, flows  
5 and temperatures. We are in the process of conducting  
6 dozens of tests on operating equipment and  
7 instrumentation.

8           In addition, we have supplemented the expertise  
9 of our own team with specialized experts on explosion  
10 modeling, emergency relief systems, process unit modeling,  
11 and instrument engineering.

12           On March 23, 2005, the BP Texas City refinery  
13 experienced severe explosions and fire. This was caused  
14 by the release of flammable hydrocarbons and resulted in  
15 15 deaths, 170 injuries, many of them serious, and  
16 significant economic losses. Ladies and gentlemen, this  
17 accident was one of the most serious and deadly U.S.  
18 workplace accidents of the past two decades.

19           Our team will explain this incident in more  
20 detail, but in brief here is what happened. This incident  
21 occurred during the start up of a tower called a raffinate  
22 splitter that process large quantities of flammable  
23 hydrocarbons processed from crude oil. Starting up that  
24 unit without those kinds of hydrocarbons is one of the

1 most potentially dangerous events in an oil refinery.

2           During the start up, the tower and associated  
3 piping were over-filled and over-pressured. This resulted  
4 in inflammable hydrocarbons being vented from the tower to  
5 a piece of equipment called a blowdown drum with a tall  
6 connected stack that opened to the atmosphere. The  
7 blowdown drum and stack are shown here in the photo.

8           This blowdown drum filled completely with  
9 flammable liquid. A geyser erupted out of the top of the  
10 stack, a large flammable vapor cloud developed at ground  
11 level drifting toward and underneath unprotected trailers  
12 which housed contract workers.

13           The trailers had been placed too close to the  
14 blowdown drum. The vapor cloud exploded and killed 15  
15 workers in and around those trailers. The work trailers  
16 were located here in the photo, and as you can see, they  
17 were completely destroyed.

18           I'd like to show you now a clip from the  
19 initial news coverage of this incident. This aerial  
20 footage was taken within hours of the initial explosion.  
21 The large cloud of smoke shown here was visible for miles  
22 away. As we get closer to the incident, you can see the  
23 size of the area affected in the refinery.

24           Flames can be seen billowing out of the top of

1 the blowdown stack. This was the location where the  
2 flammable material initially was released and ignited.  
3 You can see a truck burning, and here more vehicles  
4 engulfed in flames.

5 The tank that is shown was damaged due to the  
6 blast wave of the explosions. Benzene vapors were  
7 released from that tank and prevented inspection of the  
8 incident scene for more than a week. The camera zoomed  
9 showing emergency crews who were working to removed debris  
10 and locate the injured workers.

11 (Pause.)

12 MR. HOLMSTROM: Excuse me here. I'm now going  
13 to list the key safety issues in this presentation. Key  
14 safety issue number one: occupied trailers were placed in  
15 an unsafe location, too close to a process unit handling  
16 highly hazardous materials. All 15 fatalities occurred in  
17 the two trailers closest to the blowdown drum.

18 Key safety issue number two: the unit should  
19 not have been started up with existing malfunctions of the  
20 tower level indicator, level alarm, and control valve.  
21 Known problems were not repaired prior to start up.

22 Key safety number three: the raffinate  
23 splitter tower had a history of abnormal start ups.  
24 Running a high level in the raffinate tower during start

1 up, above the range of the indicator, for long periods of  
2 time and therefore not knowing how high the level really  
3 was, became the norm in prior start ups.

4 Key safety issue number four: the day of the  
5 incident, an unsafe blowdown drum vented highly flammable  
6 material to the atmosphere. The drum was never connected  
7 to a flare since its construction in the 1950s.

8 The first rule of oil refinery safety is to  
9 keep the flammable hazardous materials inside the piping  
10 and equipment. A properly designed flare system would  
11 safely contain the liquids and combust flammable vapors,  
12 preventing an unsafe release to atmosphere.

13 Key safety issue number five: between 1995 and  
14 March 23, 2005, there were four other serious releases of  
15 flammable material from the ISOM blowdown drum and stack.

16 Even though these serious near misses revealed the hazard  
17 of the blowdown design, no effective investigations were  
18 conducted or changes made.

19 Finally, key safety issue number six: in 1992,  
20 OSHA cited a similar blowdown drum and stack at the  
21 refinery as unsafe, but the citation was dropped and the  
22 drum was not connected to a flare. This early opportunity  
23 to connect hazardous blowdown drums to flare systems was  
24 not acted upon.

1 We'll have more to say about those key safety  
2 issues. Right now I would like to introduce Mr. Joseph  
3 who will describe the incident in more detail with crucial  
4 background information.

5 MR. JOSEPH: Thank you, Mr. Holmstrom. Today  
6 I'll provide some background information on --

7 VOICE: Speak into the microphone.

8 MR. JOSEPH: Can you hear me? Can you hear me?  
9 I'll provide some background information on the  
10 Texas City refinery, and also give details on the  
11 equipment involved in the incident.

12 The BP Texas City refinery is the third largest  
13 in the United States. On January 1, 1999, Amoco  
14 Corporation merged with BP to form BP Amoco. The Texas  
15 City refinery can produce about 11 million gallons of  
16 gasoline a day.

17 Also, the refinery has 30 process units spread  
18 over a 1200 acre site. In addition to gasoline, the  
19 refinery produced jet fuels, diesel fuels, and chemical  
20 feed stocks. The Texas City refinery also employs about  
21 1600 staff and hundreds of contractors.

22 This next slide is a graphical illustration  
23 that depicts the layout of the isomerization unit, or  
24 ISOM, and its surrounding areas. Isomerization unit is



1 the unit that had the incident.

2 Now this unit has a process that increases the  
3 octane number of light gasoline components, pentane and  
4 hexane. An example of octane number is the numbers you  
5 see at the gas pump, like 87, 91, 93. The unit is made up  
6 of four sections, and the raffinate section is the first  
7 section in the series.

8 The incident occurred during the start up of  
9 the splitter tower in the raffinate section. To deal with  
10 emergency conditions such as the splitter tower over-  
11 filling over-pressuring, the tower is connected by piping  
12 to the blowdown drum and stack across the unit. The drum  
13 is open to the refinery's process sewer system, and the  
14 stack is open to the air.

15 The trailers were very close to this open  
16 blowdown drum and stack. A total of nine trailers were  
17 located in the area to support maintenance turn around  
18 activities for the alter cracker unit, which was an  
19 adjacent unit to the ISOM.

20 Two of the trailers were only 121 feet away  
21 from the drum and stack. Now this is a close up -- these  
22 are a couple of close up picture of the splitter tower.  
23 It's 164 feet tall and normally operated at a pressure of  
24 about 20 pounds.

1 Gasoline feed is brought into the raffinate  
2 splitter from other units within the refinery. The  
3 splitter tower separates the feed into light and heavy  
4 gasoline components. When the tower is working properly,  
5 the heavy liquid material goes out the bottom and the  
6 light vapor material goes up to the top, and out through  
7 the top through a pipe, which I'll show in the next slide.

8 The incident occurred because something went  
9 wrong inside this tower. In a few minutes we'll show an  
10 animation that illustrates what went wrong, but before  
11 that let me give some more information on equipment that  
12 you'll see within the animation.

13 This is the mid section of this tower, and the  
14 piping that you see here is the -- it comes off the top of  
15 the tower. And when the tower's working properly, vapor  
16 travels up the tower like I said in the last slide, and  
17 comes off the top and flows through this pipe.

18 But on the day of the incident, liquid instead  
19 of vapor came out the top and flowed through this pipe.  
20 The animation will show how this happened.

21 Next, I want to point out these valves right  
22 here, which were used to mitigate pressure build up within  
23 the tower. Our next slide will be a close up of this  
24 area. This is what is called an eight inch chain valve at

1 the refinery. The valve is used to remove nitrogen from  
2 the tower. But, the valve is also routinely used to vent  
3 tower pressure during start ups.

4 The use of the eight inch chain valve to  
5 relieve pressure was not prescribed in the written unit's  
6 start up procedures. But practice had become -- this  
7 practice had become part of the operating norm over the  
8 years.

9 When pressure builds up within the tower, and  
10 the eight inch valve is opened, it sends material to the  
11 blowdown drum and stack. This valve was used on the day  
12 of the incident, and the animation will illustrate the  
13 role it played during the incident.

14 Three emergency relief valves also reduce high  
15 pressure build up within the tower. These valves open  
16 when pressure within the tower gets above 40 pounds, and  
17 also sends material to the blowdown drum and stack. These  
18 valves are not intended for routine operating pressure  
19 control, but rather for emergency situations.

20 This is a picture of the blowdown drum, and the  
21 67 foot stack that sits on top of it. In total, the  
22 blowdown drum and stack are 114 feet tall. During the  
23 start up of the splitter tower on March 23, a series of  
24 events caused the tower to fill up and over-pressure.

1           The emergency relief valves opened and sent a  
2 large amount of flammable liquid material to this blowdown  
3 drum and stack. The blowdown drum could not handle such a  
4 large amount of liquid material, so flammable liquid  
5 erupted out of this stack in a geyser-like manner.

6           This is a close up of the bottom of the  
7 blowdown drum and stack, or actually the blowdown drum.  
8 The piping you see here -- the piping you see there leads  
9 to the process sewer. Liquid build-up in the drum would  
10 overflow into the process sewer system via this piping,  
11 and this valve, which was chain locked open.

12           During the incident, large volumes of liquid  
13 flammable material was released into the refinery's  
14 process sewer system. The material coming out of the  
15 stack and the process sewer formed flammable vapor clouds,  
16 which ignited. The resulting explosions destroyed the  
17 nearby trailers, killing 15 contract employees, and  
18 seriously injuring numerous others.

19           Now that ends my part of the presentation. Now  
20 Mr. Johnnie Banks will discuss the animation that  
21 illustrates what went wrong during the start up of the  
22 splitter tower on March 23.

23           MR. BANKS: Thank you, Mr. Joseph.

24           And good evening. For the next portion of our

1 presentation, I'll be presenting an animation of the  
2 events that led to the incident of March 23.

3 At about 2:00 a.m. on the night -- on the  
4 previous shift, as part of pre-start up activities,  
5 operating crews began filling the raffinate splitter tower  
6 with liquid hydrocarbon feed. Prior to filling, the tower  
7 had been purged with nitrogen to prevent oxygen from  
8 entering.

9 Now I'd like to take a moment to introduce key  
10 pieces of equipment that will be features throughout the  
11 animation, and they include the feed piping coming into a  
12 feed/heat exchanger, which is shown here; the piping from  
13 that exchanger, which is routed to a furnace, which is  
14 shown here; piping from that furnace going to the splitter  
15 tower, which is shown here; and the blowdown drum and  
16 stack.

17 Now as you can see in the animation, the feed  
18 was entering the splitter tower here. When feed flow was  
19 stopped, the level indicator showed as full, but within  
20 the range of the indicator. As you'll see here, the tower  
21 actually filled three feet above the range of the  
22 indicator. Operating a tower over the range of the level  
23 indicator is a serious safety issue.

24 Okay. Above that point, the operators are

1 essentially running blind. And as we saw in the animation  
2 with the red light on the alarm activated, it sounded when  
3 the tower over-filled, but a second hard wire redundant  
4 alarm failed to activate.

5 And what I'll do is -- we have the wrong one  
6 loaded there --

7 (Pause.)

8 MR. BANKS: Okay. Sorry about that. We'll  
9 walk through this first animation and get to the end of  
10 the slide. But as I was pointing out, the feed was coming  
11 into the tower here. And when the feed flow was stopped  
12 by the red light that activates there, the redundant --

13 (Pause.)

14 MR. BANKS: Okay. Our next scene -- we'll take  
15 a look at the tower circulation starting and more feed  
16 being added to an already over-filled tower. These events  
17 would occur at about 9:51 a.m. that morning.

18 At about 9:50 a.m. on the day of the incident,  
19 despite the fact that the tower was full, operators began  
20 filling and circulating feed, as we see here. The level  
21 indicator again showed the tower level as high, but within  
22 the range.

23 The actual level that the operators relied on  
24 showed a level within range. Their meter showed the flow

1 of the tower tankage at a rate of 4,300 barrels per day.  
2 The valve controlling this flow was actually closed. And  
3 when we run the animation through at the end of this,  
4 we'll point these things out, and I apologize for the mis-  
5 steps here.

6           Although required by the procedures at this  
7 time, no flow was established out of the tower to bring  
8 the tower level down to 50 percent, or six and a half feet  
9 in the tower.

10           Now on our next animation, the pressure builds  
11 in the tower, nitrogen and other gases are vented to the  
12 blowdown drum. At about 10:00 a.m., operators lit burners  
13 on the furnace to begin heating up the incoming feed, as  
14 we'll see in the animation.

15           This activity is captured by the lights  
16 underneath the furnace shown there. As the feed comes out  
17 of the furnace, the yellow arrows turn red, indicating  
18 that they are being heated prior to going to the furnace.

19           Now the level indication and recording devices  
20 showed a decrease, when actually, the level was rapidly  
21 rising toward the top of the tower, as we'll see here. By  
22 12:40 p.m., the tower pressure had increased above the  
23 norm set point of 33 pounds per square inch due to  
24 compression of nitrogen from the rising level so liquid in

1 the tower. And as a result, the high pressure alarm was  
2 activated.

3 So the level indicator that the operators were  
4 relying upon showed a decrease in level from 9.8 feet to  
5 8.6 feet, when actually, the level, as determined through  
6 analysis after the incident, the level had increased from  
7 13 feet to 139 feet. And pressure in the tower had  
8 increased from zero to 33 pounds per square inch.

9 Now in our next scene, we'll take a look at  
10 pressure building in the tower and nitrogen and other  
11 gases being vented to the blowdown drum. With that  
12 pressure, as we see here, at about 12:40 p.m., an operator  
13 opened the chain valve to lower the pressure. This will  
14 be the chain valve that was opened, and that was pointed  
15 out by Mr. Joseph earlier.

16 In opening that valve, pressure was released to  
17 the blowdown drum through the stack, and two burners were  
18 turned off to lower the tower bottom's temperature. The  
19 chain valve was used because the valve prescribed to  
20 remove nitrogen during start up procedures was not  
21 operable.

22 As a result, the pressure -- high pressure in  
23 the line reset and the pressure dropped from 33 pounds to  
24 22 pounds per square inch. As we see in the animation,



1 gas vapors, which were mostly nitrogen, were vented from  
2 the blowdown stack to the atmosphere.

3 Now in our next animation, we'll take a look at  
4 tower feed and temperatures increasing and the tower  
5 overflowing. These events would occur between 1:00 and  
6 1:10 p.m.

7 At about 1:00 p.m., the splitter level control  
8 valve shown here was open to allow the flow of storage.  
9 Hot feed flow out of the splitter tower to the storage  
10 tank rose sharply to 28,000 barrels per day, and can be  
11 captured in the yellow arrows turning orange going into  
12 the furnace and coming out red, being warmed even more,  
13 prior to going to the splitter tower.

14 Opening up the level control valve to storage  
15 led to a sudden rapid increase in feed temperature coming  
16 into the tower. As we can see here, with the feed arrows  
17 changing from yellow to orange, the feed temperature  
18 starts to rise.

19 The temperature of the feed rapidly increases  
20 by 156 degrees in this first 10 minute period. This hot  
21 feed entering the tower is now above the boiling point by  
22 1:05 p.m. As a result, some of the liquid vaporizes.  
23 When liquid changes to vapor, the liquid volume expands  
24 significantly.

1                   And we can see here in the animation, this  
2 vaporization causes the liquid level to increase as it  
3 expands in volume. At 1:10 p.m., the tower is full and  
4 starts to overflow into the overhead piping.

5                   So at 1:10, the level indicator that the  
6 operators were relying upon showed a level of 8.6 feet,  
7 while the actual level, as determined after the fact, had  
8 increased -- had gone from 158 feet to an overflow status.

9                   And the time is 1:10.

10                  Okay, in our next scene, tower pressure  
11 increases rapidly and relief valves open up to the  
12 blowdown drum and liquid hydrocarbons are released to the  
13 atmosphere. At this point, the liquid level is building  
14 in the overhead piping, as we see here.

15                  The weight of the rise in liquid in the 150  
16 overhead piping adds a significant addition of that  
17 additional pressure to the area where the emergency relief  
18 valves are located.

19                  The pressure rises from 21 to 63 pounds per  
20 square inch in just two minutes. The pressure relief  
21 valves open at approximately 1:14 p.m. when the pressure  
22 reaches 40, 41 and 42 pounds as we see here, and the still  
23 expanding liquid volume is vented to the blowdown drum.

24                  Now as the liquid level rises in the blowdown

1 drum, and here in the animation it overflows into the  
2 process sewer piping that's shown here. The blowdown drum  
3 completely fills, as we see here, and at this point,  
4 numerous witnesses report seeing a geyser-like eruption of  
5 liquid as high as 20 feet above the blowdown stack. The  
6 geyser lasted approximately 45 seconds to one minute, and  
7 the liquid falls to the ground, creating a large vapor  
8 cloud.

9 What I'd like to do now is to play this  
10 animation in its entirety with a minimal amount of  
11 commentary, and allow you to see how the chain of events  
12 unfolded into the incident.

13 (Pause.)

14 MR. BANKS: The raffinate splitter tower  
15 overfills.

16 (Pause.)

17 MR. BANKS: The level of alarm indication  
18 activates, but a second hard wire redundant alarm fails to  
19 activate.

20 (Pause.)

21 MR. BANKS: Tower circulation starts, more feed  
22 is added to an already over-filled tower. The circulation  
23 loop shown here. The tower feed is heated, the level  
24 rises to the top of the tower.

1 (Pause.)

2 MR. BANKS: The burners are added, the feed is  
3 heated.

4 (Pause.)

5 MR. BANKS: Nitrogen in the tower is compressed  
6 by the rising liquid level. The pressure builds in the  
7 tower, nitrogen and other gases are vented to the blowdown  
8 drum. This depicts the venting of the blowdown drum tower.  
9 The chain valve is opened, and pressure is vented to the  
10 blowdown drum.

11 (Pause.)

12 MR. BANKS: Mostly nitrogen gas is vented from  
13 the stack. The tower feed temperature increases and the  
14 tower overflows.

15 (Pause.)

16 MR. BANKS: The feed coming in is warmed prior  
17 to going to the heater where it's heated even more, going  
18 to the splitter tower. The rising liquid level. The  
19 tower pressure increases rapidly, and the relief valve  
20 opens to the blowdown drum. Liquid hydrocarbons are  
21 released to the atmosphere.

22 (Pause.)

23 MR. BANKS: The pressure builds, the relief  
24 valve's opened.

1 (Pause.)

2 MR. BANKS: The process sewer piping overflows,  
3 the liquid level rises, and the geyser-like eruption from  
4 the splitter tower -- I mean, from the blowdown stack.

5 This concludes my portion of the presentation.

6 I will now turn the proceedings over to Mr. Kaszniak who  
7 will walk you through several blast scenarios.

8 MR. KASZNIAK: Thank you, Mr. Banks.

9 Four conditions are necessary to create a vapor  
10 cloud explosion. First, the flammable material must be  
11 released to the atmosphere; second, a flammable vapor  
12 cloud must form and expand to a sufficient size; third,  
13 the vapor cloud must be ignited by a suitable ignition  
14 source; and fourth, as the vapor cloud burns, it must  
15 encounter congested and/or confined areas in order to  
16 accelerate the speed of the flame.

17 If wind acceleration does not occur, then no  
18 blast pressure will result, and only a large flash fire  
19 will occur.

20 The animation that you just saw described a  
21 sequence of events which showed how flammable hydrocarbons  
22 were released from the blowdown stack during the March 23  
23 start up of the raffinate splitter tower.

24 Now I will discuss how the other three

1 conditions came to be present on March 23, then I will  
2 discuss the consequences produced by these vapor cloud  
3 explosions, focusing in on damage created to the occupied  
4 trailers.

5 The darkened area inside the dotted line in  
6 this aerial photograph taken a day after the explosion  
7 shows the burned area which indicates the extent of the  
8 flammable vapor cloud that was created. As a point of  
9 reference, the blowdown drum and stack are shown in the  
10 white rectangle.

11 As you can see, this area includes the bulk of  
12 the ISOM unit itself, portions of the roadways on the left  
13 and right sides of the unit, a portion of the pipe rack  
14 and trailer area below the unit, and a vehicle parking  
15 area near a warehouse, also below the unit.

16 The expansion of the flammable vapors into this  
17 area occurred in two distinct phases. The first phase  
18 occurred before the vapor cloud was ignited.

19 During the one to two minute period, natural  
20 forces, in this case primarily gravity, evaporation and  
21 the wind, moved the flammable vapors from the blowdown  
22 stack to the ground where a cloud formed and then spread  
23 away from the drum in all directions.

24 The second phase occurred after the ignition of

1 the cloud. As the cloud burned, the flame front that was  
2 created pushed unburned vapors ahead of it, much like a  
3 piston would.

4 The computer simulation that I'm about to run,  
5 which was developed by a consultant for CSB, shows one way  
6 that the vapor cloud could have expanded before it was  
7 ignited. Please note that this is a preliminary  
8 simulation that will be refined as the investigation  
9 continues.

10 This simulation is based on a validated  
11 computer model. The results produced by this model have  
12 been compared against information obtained from large  
13 scale tests and historical data of actual vapor cloud  
14 explosions.

15 You are looking at a three dimensional scale  
16 representation of the ISOM unit and the area immediately  
17 surrounding it. The raffinate splitter tower is in the  
18 lower right hand corner. The blowdown stack is in the  
19 upper center of the photo. And the trailer area is on the  
20 left side.

21 Please note that this simulation only shows the  
22 flammable vapors expanding at ground level, not coming out  
23 of the stack. And the wind speed is five miles per hour,  
24 blowing toward the southeast, as it was on March 23.

1 (Pause.)

2 MR. KASZNIAK: This is how far the model  
3 predicts the vapor cloud expanded one minute after the  
4 release began from the stack. The various colors  
5 represent different concentrations inside the vapor cloud.

6 As you may know, flammable vapors can only explode in a  
7 limited concentration range. In the ISOM unit, that range  
8 was between 0.8 and 7 percent by volume in air.

9 The red areas of the cloud show vapor  
10 concentrations above 7 percent. These vapors are too rich  
11 to burn. The yellow and green areas of the cloud are  
12 vapors between 4 and 7 percent, and the blue areas of the  
13 cloud are vapors between 0.8 and 4 percent. These vapors  
14 are in the proper area, and they can burn and explode.  
15 Those areas that remain black are below 0.8 percent. Any  
16 vapors in those areas are too lean to burn, and are not  
17 represented in this simulation.

18 To date, CSB has identified four potential  
19 ignition points that could have ignited the flammable  
20 vapor cloud. Other potential ignition points are still  
21 being evaluated by CSB. This photo shows the location of  
22 those points relative to the ISOM unit as a whole, and the  
23 blowdown drum and stack in particular, which is indicated  
24 by the white rectangle.



1           The first potential ignition point is a diesel  
2 truck that was parked near a contractor trailer located  
3 inside the ISOM unit. The ignition key inside this truck  
4 was found in the on position after the explosion.

5           The second potential ignition point is a  
6 furnace located -- also located in the ISOM unit. This  
7 furnace was operating at the time of the explosion.

8           The third potential ignition point is a switch  
9 gear building located in a corner of the ISOM unit.  
10 Flammable vapors could have entered this building and been  
11 ignited by an electrical spark.

12           The fourth and closest potential ignition point  
13 is a diesel pickup truck that was parked alongside the  
14 roadway about 25 feet from the blowdown drum and stack.  
15 This photo shows a close up of that pickup truck.

16           Several eyewitnesses reported seeing or hearing  
17 the engine of this truck, which was idling at the time of  
18 the explosion, over web when the vapor cloud reached it.  
19 Two eyewitnesses saw this truck explode, followed shortly  
20 thereafter by the first vapor cloud explosion. One of  
21 these eyewitnesses observed sparks leaving the truck and  
22 igniting the vapor cloud.

23           This second computer simulation shows one way  
24 that the blast pressure wave could have moved after the

1 vapor cloud was ignited. Again, this is a preliminary  
2 simulation. The ignition point chosen for this simulation  
3 was the diesel pickup truck parked closest to the blowdown  
4 drum, and the vapor cloud was ignited one minute after the  
5 flammable hydrocarbons were released from the -- released  
6 to the atmosphere.

7 In this simulation, the combustion products  
8 produced by the flame front are used to show the movement  
9 of the blast pressure wave. This time, the changes in  
10 color that you will see, from blue to green to red,  
11 indicate more combustion products are being produced. And  
12 thus the blast pressure wave is accelerating as it moves  
13 through those areas of the ISOM unit.

14 So there's the location of the ignition point  
15 where the diesel truck was, and now I'll run the  
16 simulation.

17 (Pause.)

18 MR. KASZNIAK: You can see the cloud expanding  
19 here, the red indicating that the flame is accelerating in  
20 those particular directions. First it's localized, and  
21 then it forms in the congested area and expands greatly.

22 (Pause.)

23 MR. KASZNIAK: And then it shrinks back to a  
24 smaller size after it has been expanded.

1           Now I will show you four areas where the CSB  
2 has determined that explosions occurred inside the  
3 flammable vapor cloud. As I previously explained, these  
4 are congested or confined areas where the flame front  
5 accelerated to produce a blast pressure wave.

6           Each explosion area is characterized by a  
7 circular pattern of locally intense structural damage that  
8 was pushed or deformed away from the center in all  
9 directions. Three explosion areas were found in the main  
10 part of the ISOM unit. Two were located in reactor areas  
11 and one in a compressor area, shown by these three  
12 rectangles on the photo.

13           All of these areas were highly congested with  
14 process equipment, structural support -- and structural  
15 supports and thus high blast pressure waves were  
16 generated. As these blast pressure waves propagated  
17 outward, they damaged a lot of steel process equipment,  
18 structural supports and piping.

19           The fourth explosion area was located between  
20 the pipe run and the trailer area, as shown by this  
21 rectangle. Flammable vapors settled in the lower area of  
22 the pipe run where they were also partially confined by  
23 the walls of the nearby trailers, and some had dispersed  
24 underneath the trailers as the time of the explosion.

1           Although the magnitude of the blast pressure  
2 wave here was only about a third of those generated in the  
3 main part of the ISOM unit, this explosion occurred very  
4 close to where the occupied trailers were located.

5           The aerial photo on the left taken several  
6 months prior to March 23 shows where the double wide  
7 trailer was located in relation to the warehouse. The  
8 rectangle shows where the fluor trailer would later be  
9 located.

10          The aerial photo on the right shows the same  
11 area after the explosions. Note that the trailers have  
12 been totally destroyed and the warehouse has sustained  
13 major structural damage.

14          This aerial photo is a close up of just the  
15 trailer area. All 15 contractor fatalities occurred in  
16 this area, and several BP employees were severely injured.

17          The fluor trailer, which is indicated in this  
18 rectangle, was totally destroyed by the explosion. As you  
19 can see, only its metal frame is left, and it has been  
20 deformed and was moved by the explosion from its original  
21 location.

22          The double wide trailer was also destroyed by  
23 the explosion. As you can see, both metal frames were  
24 significantly bent in the middle. Again, both the trailer



1 the ISOM unit. As you can see, the roof has partially  
2 collapsed and its windows have also been broken.

3 Although the blast pressure wave dissipated the  
4 farther it traveled from the explosion area, it was still  
5 capable of breaking windows in a number of homes and small  
6 businesses located north of the refinery, up to a distance  
7 of one mile. As a point of reference, the amount of over-  
8 pressure it takes to break windows in a typical building  
9 ranges from about .1 to .3 pounds per square inch.

10 That concludes my portion of this presentation.

11 Now I will turn it back to Don Holmstrom, the lead  
12 investigator, who will come back to discuss the  
13 preliminary findings.

14 MR. HOLMSTROM: Madam Chair, now that we have  
15 described what happened on March 23, I will present some  
16 important facts that relate to the causes of the  
17 hydrocarbon release, the subsequent fire and explosion,  
18 and the reasons for the injuries and the fatalities.

19 Since the investigation is not complete, we  
20 call these preliminary findings. The first preliminary  
21 finding is associated with the placement of occupied  
22 trailers too close to hazardous process areas.

23 All of the fatalities, and many of the serious  
24 injuries, occurred in or around the nine contractor

1 trailers that were sited near process areas as close as  
2 121 feet from the ISOM blowdown drum.

3 This unit contained large quantities of  
4 flammable hydrocarbons, and add a history of releases,  
5 fires, and other safety incidents over the previous two  
6 decades.

7 Trailers have been periodically located in and  
8 around process areas handling highly hazardous materials  
9 for reasons of convenience, such as ready access to work  
10 areas. BP had located trailers needed for contract  
11 workers in the same location near the isomerization unit  
12 for a number of years. Trailers such as these did not  
13 need to be located as close as they were to process areas  
14 in order for workers to perform their job duties.

15 Under BP's citing policy, trailers used for  
16 short periods of time, such as turn around trailers, were  
17 considered as posing little or no danger to occupants.  
18 This approach conforms with the safety guidance published  
19 in Recommended Practice 752, by the American Petroleum  
20 Institute, or API.

21 The American Petroleum Institute is the primary  
22 safety standard setting trade association for the oil  
23 industry. API 752 states that each company may define its  
24 own risk in occupancy criteria. There are no defined

1 minimum protections. API 752 provides no safe minimum  
2 distances from process areas for the location of trailers  
3 used in refineries and other chemical facilities.

4 Over 40 trailers were damaged in this incident.  
5 Workers in adjacent units were injured in trailers 480  
6 feet from the ISOM blowdown drum. A number of trailers,  
7 some as far as 600 feet from the blowdown drum, were  
8 heavily damaged.

9 Trailers can be easily relocated to less  
10 hazardous areas. Subsequent to the March 23 incident, BP  
11 announced that it would move trailers at least 500 feet  
12 from hazard process areas. A number of contractor offices  
13 were moved to an offsite location.

14 Finally, trailers are not generally designed to  
15 protect occupants from fire and explosion hazards. In  
16 contrast, occupied buildings such as control rooms,  
17 operator shelters located within a process unit are  
18 typically permanent and constructed to be blast and fire  
19 resistant.

20 For these reasons, as Chairman Merritt has  
21 discussed, the CSB issued an urgent recommendation to the  
22 American Petroleum Institute to remove trailers away from  
23 hazardous areas in process plants.

24 Next we'll talk about unit start up and



1 mechanical integrity issues. The raffinate splitter tower  
2 was started up despite malfunctioning key process  
3 instrumentation and equipment on the day of the incident,  
4 including the tower level indicator and sight glass, tower  
5 hard wire level alarm, blowdown drum high level alarm, and  
6 the tower three pound pressure valve.

7 As we saw in the start up animation earlier,  
8 the level alarm associated with the level indicator  
9 sounded during the initial filling of the raffinate  
10 splitter tower.

11 However, both the tower level indicator and a  
12 separate hard wired high level alarm were malfunctioning  
13 during the events that led to the incident. The hard  
14 wired high level alarm and the level indicator were  
15 documented by work orders as malfunctioning, but were not  
16 repaired prior to start up.

17 The sight glass on the raffinate splitter  
18 tower, which gives a visual check of tower liquid level  
19 and can help verify the accuracy of the level indicator,  
20 which as we found, was inaccurate on the day of the  
21 incident, was reported prior to the start up to be dirty  
22 and non-functional.

23 In addition, the high level alarm for the  
24 blowdown drum did not sound prior to the incident at the

1 time liquid was flowing into the process sewer system,  
2 this alarm switch, which was subject to severe fouling and  
3 required a weekly maintenance procedure to try to keep it  
4 functioning.

5 Prior to start up, operators informed  
6 management that the tower three pound pressure valve was  
7 not operating. Still, the valve was not repaired prior to  
8 start up. This led operators to use alternative methods  
9 to remove nitrogen and reduce tower pressure, such as  
10 using, as we saw in the animation, the eight inch chain  
11 valve, which as we saw, opens to the blowdown drum and  
12 stack. Post-incident testing confirmed that the three  
13 pound valve was not working properly.

14  
15 Madam Chair, with important instrumentation and  
16 equipment malfunctioning, the ISOM unit should not have  
17 been started up until repairs were made. The proper  
18 working order of key process instrumentation was not  
19 checked as required by the start up procedure.

20 This was an additional opportunity to verify  
21 that the instrumentation was working properly. However,  
22 operations personnel did not know of problems with the  
23 tower level indicator and high level alarm because checks  
24 to determine operability of these instruments was not

1 performed.

2           Verification of instrument operability is  
3 required in the procedures and a critical step in the  
4 start up process. Unit operations management turned away  
5 instrument technicians and signed off on the checks as if  
6 they had been completed.

7           We will now discuss unit start ups. Operations  
8 personnel did not open the tower level control valve at  
9 the time specified in the start up procedure. The  
10 operator did not balance the hydrocarbon flows in and out  
11 of the tower.

12           As we have shown in our animation of the start  
13 up process, the tower filled up because liquid was being  
14 added for nearly three hours without being removed to the  
15 storage tanks. An outside operator stated he requested  
16 the board operator to open the valve that would remove the  
17 tower liquid to storage.

18           However, controlling personnel stated that  
19 instructions were given to keep the level control valve  
20 closed. The CSB is further investigating this issue.

21           The tower level was actually rising rapidly for  
22 three hours. During the hours of 10:00 a.m. to 1:00 p.m.,  
23 we now calculate that the liquid level was rising rapidly  
24 towards the top of the tower at 158 feet, of 164 foot

1 tower.

2           However, the indicator that operators were  
3 observing showed the level to be dropping in the bottom 10  
4 feet of the tower during this same time period. The tower  
5 level indicator only indicates the bottom 10 feet and  
6 nothing above the 10 foot level.

7           A false level indication showing the tower  
8 level declining was a factor in the delay in removing  
9 liquid from the tower. Operators relied on this level  
10 indication, and they took no action as they observed the  
11 level drifting back towards the normal operating range.

12           Start up procedures did not address the  
13 importance of maintaining a balance of liquid flow in and  
14 out of the tower. The tower was not equipped with  
15 additional instrumentation indicating tower level.  
16 Additional instrumentation, such as a tower bottom  
17 pressure indicator, could have provided the operators with  
18 additional data concerning tower level.

19           We're now going to talk about a history of  
20 abnormal unit start ups. In 16 start ups of the raffinate  
21 splitter tower from April 2000 to March 23, 2005, eight of  
22 these start ups of the raffinate splitter experienced at  
23 least two time the normal pressure, greater than 40 pounds  
24 per square inch versus 20 pounds, the normal operating

1 pressure. In 13 out of the 16 start ups, the pressure  
2 exceeded 30 pounds, the alarm set point for high tower  
3 pressure.

4 In February 2003, the set points of the  
5 emergency relief valves that we've seen earlier in the  
6 animation on the tower were lowered from 70 to 40 pounds  
7 due to corrosion in the tower. Two of the start ups since  
8 2003 involved pressure excursions over 40 pounds where  
9 emergency relief valves likely opened.

10 Thirteen of the start ups of the raffinate  
11 splitter had liquid levels above the range of the level  
12 indicator, that is, greater than 10 feet, some lasting as  
13 long as four hours.

14 Also, in two thirds of the start ups, liquid  
15 feed circulation to the raffinate splitter was started  
16 when the tower was already above the range of the level  
17 indicator. As we have discussed, filling above the level  
18 indicator makes it difficult to know how much liquid is  
19 within the tower, thus making it much easier to over-fill.

20 However, most of the previous start ups  
21 established liquid flow out of the tower much sooner,  
22 between three minutes and 45 minutes after flow was  
23 introduced, rather than the three hours it took in this  
24 incident.

1           Moreover, preliminary analysis indicates that  
2 none of the previous start ups experienced a high level  
3 into the upper section of the tower, as occurred in the  
4 March 23 incident.

5           BP did not investigate these previous raffinate  
6 splitter tower start ups with high pressures and high  
7 levels as required by BP policy. The occurrence of high  
8 pressures and high liquid levels during the tower start  
9 ups had become part of the operating norm.

10           It is important to investigate these incidents  
11 that we call near misses, even those without serious  
12 consequences, because catastrophic incidents can follow if  
13 problems go uncorrected. Investigation of these incidents  
14 could have resulted in improvements to tower design,  
15 instrumentation, procedures and controls.

16           Next we're going to talk about management  
17 oversight and accountability. BP management did not  
18 assure that an experienced supervisor was in the unit  
19 during start up to provide oversight. PB policy requires  
20 experienced supervisory personnel to be assigned to  
21 process units start up to assist in making important  
22 decisions.

23           At 10:00 a.m., the supervisor in charge left  
24 the unit for a family emergency. But no substitute with

1 ISOM operating experience was assigned. The departing  
2 supervisor had many years of operating experience in the  
3 unit.

4 The relief supervisor was not involved in the  
5 start up and had no ISOM operating experience. He could  
6 not provide the necessary level of guidance during the  
7 critical start up period. No other experienced  
8 supervisors were assigned to this start up.

9 We're going to talk about process design. The  
10 blowdown drum and stack were outdated and unsafe because  
11 they released flammable hydrocarbons to the atmosphere,  
12 rather than to a safe location such a flare system.

13 The ISOM's unit blowdown drum and stack  
14 released hydrocarbons to atmosphere, which created a fire  
15 and explosion hazard. The blowdown drum had a 67 foot  
16 tall stack open to the air. This open system design is  
17 outdated and unsafe.

18 In fact, BP policies recommended phasing out  
19 such blowdown systems when major modifications were made.

20 Modern emergency systems, relief systems, send  
21 hydrocarbons to a flare system that includes an adequately  
22 sized knock out drum to capture liquids and a flare which  
23 safely combusts the flammable vapors.

24 Amoco safety standards, last revised in 1994,

1 state that when blowdown drums -- that blowdown drums  
2 should be connected to a flare when major modifications  
3 are made. In 1997, Amoco replaced the blowdown drum and  
4 stack with identical equipment rather than connecting the  
5 drum to a safer location such as a flare system.

6 This replacement was due to corrosion, and was  
7 a major modification under Amoco's procedures. Amoco was  
8 the owner of the refinery in 1997. Consequently, at that  
9 time, the blowdown drum and stack should have been  
10 converted to a flare system.

11 After the merger in 1999, BP adopted the Amoco  
12 safety standard for blowdown drums at the refinery. In  
13 2002, BP evaluated connecting the ISOM blowdown system to  
14 a flare as part of an environmental initiative, but did  
15 not pursue this option.

16 Since the March 23, 2005 incident, BP has  
17 stated they plan to discontinue the use of blowdown drums  
18 open to the atmosphere at the facility.

19 At the time of the incident, the raffinate  
20 splitter tower did not have an effective pressure control  
21 system to reduce high pressure and remove hydrocarbons to  
22 a closed system. This led, in part, to the dependence on  
23 a blowdown drum and stack to reduce high pressures build  
24 up within the tower.



1           The tower should have had an additional layer  
2 of protection such as a pressure control valve to a closed  
3 system to remove hydrocarbons and reduce build up excess  
4 pressures, thus lessening the dependence on the blowdown  
5 drum and stack relieving the atmosphere. The use of a  
6 closed system could have prevented, or reduced the  
7 severity of the incident.

8           In 1992, OSHA cited and fined Amoco on the  
9 hazardous design of a similar blowdown drum and stack at  
10 the Texas City refinery. The blowdown referred to was  
11 located in another unit, but was of similar design to the  
12 ISOM blowdown.

13           In the original citation and notification of  
14 penalty, OSHA suggested that the appropriate abatement  
15 method was to reconfigure the blowdown to a closed system  
16 with a flare. In a settlement agreement, OSHA withdrew  
17 the citation and fine and the refinery continued to use  
18 blowdown drums without flares. This early opportunity to  
19 remove hazardous blowdown drums was not acted upon.

20           Since 1995, at least four releases from the  
21 blowdown drum sent hydrocarbons to the stack and sewer,  
22 generating flammable vapor clouds at ground level. During  
23 these releases, vapors escaped from the sewer and formed  
24 ground level flammable clouds.

1           The drain valve off the bottom of the blowdown  
2 drum was chained open at the time of the incident and had  
3 been in this position for a number of years to allow for  
4 liquid hydrocarbons to flow into the sewers -- process  
5 sewers.

6           Since the hydrocarbon vapors coming out of the  
7 stack were heavier than air, material released descended  
8 towards the ground and also formed flammable clouds.  
9 Luckily, these previous releases did not find a source of  
10 ignition. We found that the four previous blowdown  
11 incidents were not properly investigated, nor were needed  
12 corrective actions implemented.

13           Finally, in terms of preliminary findings,  
14 we're going to talk about vehicle policy. We found that  
15 vehicles played an important role in the incident. PB's  
16 traffic policy allowed vehicles unrestricted access near  
17 process units. BP's vehicle policy does not establish  
18 safe distances from process unit boundaries for vehicles.

19           Approximately 55 vehicles were located in the  
20 vicinity of the blowdown drum and stack at the time of the  
21 incident. Two running vehicles may have provided sources  
22 of ignition for the incident. One was within 25 feet of  
23 the blowdown drum. Earlier we saw the photo of this  
24 diesel pickup truck north of the blowdown drum.

1           That concludes our preliminary findings.  
2 Finally, our future investigative activities. The CSB  
3 investigative team will complete our remaining interviews  
4 and testing of instrumentation and equipment in the next  
5 weeks.

6           We will also analyze root causes and use  
7 various tools to do that, and we will develop  
8 additional -- and analyze and do research and develop  
9 additional -- propose safety recommendations. We plan to  
10 issue the final report and present it to the Board for a  
11 vote a public meeting in Texas City in fall of 2006.

12           Madam Chair, that concludes our presentation.  
13 We are now ready for Board questions.

14           CHAIRMAN MERRITT: Thank you.

15           At this time, I'd like to open the floor to any  
16 of the Board members who might have questions for the  
17 panel.

18           MR. VISSCHER: Thank you, Madam Chair.

19           CHAIRMAN MERRITT: Mr. Visscher.

20           MR. VISSCHER: Thank you, Madam Chair.

21           First of all, I want to thank Don and the team.  
22 That was a very comprehensive presentation. And thank  
23 you for all that.

24           One question. Near the end of the presentation

1 you mentioned that the four releases that had occurred  
2 since 1995 from the blowdown drum of hydrocarbon -- from  
3 vapors had come through the sewer.

4 Had any of the -- had any previous releases of  
5 vapor come through the top of the stack? Do we have  
6 record of any previous releases through the top of the  
7 stack, or had all the previous releases come through the  
8 sewer?

9 MR. HOLMSTROM: Three of the previous releases  
10 came out the top of the stack and were in the form of  
11 vapor, not liquid as we saw in this incident on March 23.

12 The vapor was released from the top of the stack, and  
13 because it's heavier than air, drifted down towards ground  
14 level.

15 In one of those incidents, a witness has  
16 reported to us that an explosion meter was pegged out when  
17 measuring the hydrocarbon concentrations at the ground  
18 level. One of the incidents involved large quantities of  
19 hydrocarbons going into the sewer system and creating a  
20 vapor cloud out near some of the underground equipment  
21 boxes related to the sewer system.

22 MR. VISSCHER: Was it a similar situation where  
23 it had come through the open valve out of the blowdown and  
24 into the --

1 MR. HOLMSTROM: That's correct.

2 MR. VISSCHER: -- cool air and went up -- okay.

3 MR. HOLMSTROM: That's correct.

4 MR. VISSCHER: So three of them were out the  
5 top of the stack, however.

6 MR. HOLMSTROM: Three of them were out the top  
7 of the stack.

8 MR. VISSCHER: Okay. Thanks. I guess, you  
9 know, listening to this, you've described a situation  
10 which there were clearly issues, kind of design issues,  
11 equipment issues, management issues, and operator issues.

12 And I wanted to just ask a couple of questions on the  
13 last of those.

14 Was the amount of -- were the number of  
15 operators involved here, was it principally one operator  
16 following this start up, or were there additional  
17 operators involved? Is this basically a one person start  
18 up process?

19 MR. HOLMSTROM: There were operators in the  
20 control room, and there was an operator on the control  
21 board, and there were operators outside in the process  
22 unit. In this particular incident, there were several  
23 operators who were outside, two of whom had outside  
24 experience, one who had not worked outside for a number of

1 years and been primarily a board operator. There was one  
2 control operator, that was typical practice for the start  
3 up of this particular unit, the raffinate splitter.

4 As part of our ongoing investigation, we're  
5 looking at a number of issues related to what are called  
6 human factors, the interface between the operator and the  
7 machinery, and what was going on at the control board and  
8 alarms that were going off and distractions and things of  
9 that nature. That is part of our continuing investigation  
10 into this incident.

11 MR. VISSCHER: Okay. Did he have  
12 responsibilities other than the start up? Was he  
13 monitoring other things besides the start up?

14 MR. HOLMSTROM: Yes. Yes. There were other  
15 process units operating that he was responsible for, as  
16 well as another section of the ISOM unit that was in  
17 circulation at the time.

18 MR. VISSCHER: I guess one of the things that  
19 strikes me in this is, even with the equipment failures,  
20 the fact that liquid was going in for three hours as you  
21 described, and nothing was going to storage. It seems it  
22 would have occurred that it must be building up somewhere  
23 to the operator.

24 You kind of touched on that in terms of what

1 may have been going on there. Do you have anything more  
2 on that, or is that one of the areas that you're still  
3 looking at?

4 MR. HOLMSTROM: As I indicated, we're  
5 investigating the version of events from several witnesses  
6 who were present, and trying to determine the exact  
7 sequence of events with both the operators in the control  
8 room, as well as the operators outside.

9 We're also looking at issues related to the  
10 training and procedures concerning this. We mentioned  
11 some of those in our findings concerning the importance of  
12 containing in procedures, balancing flows in and out of  
13 the towers, as well as we're examining the training that  
14 was given on the operators on those issues.

15 Additionally, we've looked at the role that the  
16 level indicator played that was giving a incorrect  
17 reading, and the operators were, to some degree, relying  
18 on that. We also stated that the procedures called for  
19 placing the level control valve in auto instead of 50  
20 percent at the beginning -- at 10:00 a.m., at the  
21 beginning of the process, before heat was applied and the  
22 heaters were started. And that was not done.

23 The flow out showed an indication. We believed  
24 it to be a false indication of some flow out. We believe

1 there was no flow out of the tower. The level control  
2 valve was in the closed position, the output was zero.

3 MR. VISSCHER: Thank you.

4 CHAIRMAN MERRITT: Thank you, Mr. Visscher.

5 MR. BRESLAND: Just following up on --

6 CHAIRMAN MERRITT: Mr. Bresland.

7 MR. BRESLAND: Just following up on that  
8 question. You say that there was a zero indication on the  
9 valve which would indicate that the valve was closed?

10 MR. HOLMSTROM: That's correct.

11 MR. BRESLAND: So somebody looking at that  
12 would know that there wasn't any flow leaving the bottom  
13 of the column?

14 MR. HOLMSTROM: One looking at a zero output  
15 valve should be concerned that there's no flow going out.

16 As I indicated, there was a flow shown, but we believe  
17 that flow to be incorrect.

18 MR. BRESLAND: A question about the supervisor  
19 who left at 10:00 a.m. for personal reasons. What level  
20 of expertise did he have and -- I'm asking you to  
21 speculate here, but if he had stayed, would there have  
22 been a greater level of expertise in the start up  
23 operation on that day?

24 MR. HOLMSTROM: We list that as one of the



1 preliminary findings because we think that is a  
2 significant event. The supervisor who left had many years  
3 of ISOM operating experience, had actually worked as an  
4 operator, knew the ISOM very well.

5 BP policy required that there be experienced  
6 supervisors, or technical experts with expertise who could  
7 provide assistance and do troubleshooting during start  
8 ups. And that policy, as we understand it, was developed  
9 specifically in response to some previous start ups  
10 historically within Amoco, prior to BP, the owner of the  
11 refinery, where there were serious incidents that occurred  
12 during start up.

13 And what we mentioned earlier is that start up  
14 is a very critical time during refinery operations and  
15 presents many potential hazards.

16 MR. BRESLAND: A question -- let me see if I  
17 can find this in your presentation -- the issue in 1992  
18 regarding the OSHA citations. And as I understand it, and  
19 correct me if I'm wrong, OSHA, as part of that initial  
20 settlement with OSHA there was an agreement to do  
21 something with the blowdown drum, and then that agreement  
22 was changed.

23 Can you expound on that, and correct me if  
24 I'm --

1 MR. HOLMSTROM: Well, OSHA issued a citation  
2 that said that the blowdown drum was unsafe because it did  
3 not remove the hazardous material to a safe place, it was  
4 open to the -- it wasn't a closed system. And as part of  
5 their recommendations for mitigation they -- one of the  
6 recommendations was connecting the blowdown drum to a  
7 closed system such as a flare system. That citation and  
8 fine was later dropped by OSHA.

9 MR. BRESLAND: And have we had any discussions  
10 with OSHA about that?

11 MR. HOLMSTROM: For approximately the last  
12 eight weeks we've been in contact with OSHA to try to  
13 arrange interviews with inspectors who were involved in  
14 that particular investigation and incident, and we have  
15 been unsuccessful to arrange those interviews thus far.

16 MR. BRESLAND: And are your efforts going to  
17 continue in this area?

18 MR. HOLMSTROM: Yes, our efforts will continue  
19 in this regard.

20 MR. BRESLAND: Okay. This incident involved  
21 fatalities in trailers where people working in trailers,  
22 temporary trailers. Is this a one of kind incident, or  
23 has something like this ever happened in the industry  
24 before?

1 MR. HOLMSTROM: There have been previous  
2 incidents in trailers and refineries. In 1995 there was  
3 another serious incident that occurred at the Penzoil oil  
4 refinery in Rouseville, Pennsylvania. That incident  
5 involved the bursting of two flammable liquid storage  
6 tanks. Five were killed, including two contractors who  
7 were located in trailers that were sited near the tanks.

8 The EPA, in 1998, released an investigation  
9 report and concluded that those fatalities may have been  
10 prevented if the trailers had been moved away to a safer  
11 location.

12 MR. BRESLAND: Do we know of any other  
13 incidents involving trailers?

14 MR. HOLMSTROM: We are investigating other  
15 trailer incidents that have occurred across the country.  
16 We know of some others where there have been damages. We  
17 are obviously looking at all the trailer incidents that we  
18 can find that related to the trailers being placed too  
19 close to hazardous process areas.

20 MR. BRESLAND: Okay. Thank you.

21 CHAIRMAN MERRITT: I'm not an engineer, so  
22 maybe you can help me here. I'm a little bit confused  
23 about how a flare system would help in a situation where a  
24 liquid geyser has erupted.

1           Can you explain when you talk about a flare  
2 system, exactly what to you mean and how would it handle a  
3 liquid situation such as we have in this particular  
4 incident?

5           MR. HOLMSTROM: Well, we're talking about a  
6 flare system, and a system would include both a -- what is  
7 commonly referred to as a knock out drum, there are other  
8 terminology for such a vessel, but a vessel that would  
9 collectively -- properly sized and properly designed to  
10 collect a worse case scenario of liquid that could be sent  
11 in emergency relief scenarios and safely contain that  
12 liquid.

13           The vapors would then be sent to a flare, which  
14 is lit and would safely combust the vapors and prevent a  
15 release to the atmosphere of flammable liquids or gas.

16           CHAIRMAN MERRITT: Okay. Thank you.

17           I'm a little disturbed about this chain valve,  
18 this valve that was chained open at the bottom of blowdown  
19 drum. Was this something that occurred just this day, or  
20 was it something that had been there a week, or what is  
21 your findings with regard to this valve open to the sewer?

22           MR. HOLMSTROM: We understand that the chain  
23 valve had been -- that valve had been chained open to the  
24 sewer for a number of years. The reason given was that

1 they -- BP wanted liquid to leave that blowdown drum and  
2 not build up a liquid level to the same point in the drum  
3 that the emergency relief piping is entering, thus  
4 restricting the flow of that -- of those vented gases into  
5 the drum.

6           However, as we stated earlier, we found that in  
7 a previous incident, the liquid went into the sewer and  
8 formed a vapor cloud at ground level. We also know, in  
9 this incident, that the liquid going into the sewer was  
10 created -- helped add to the vapor cloud and eventual  
11 explosion damage and fire in this incident. It was vented  
12 out of the sewer system.

13           CHAIRMAN MERRITT: And understanding about  
14 process safety management, when process hazard analyses  
15 are done, you're supposed to take into consideration  
16 potential events.

17           In your investigation, have you identified the  
18 process hazard analysis, and did they take into  
19 consideration these potential events, or past events that  
20 had occurred at this facility?

21           MR. HOLMSTROM: A number of the events were not  
22 included in the -- either the initial or revalidation of  
23 the process hazard analysis. I believe there was one that  
24 was mentioned, and I'm going to hand over, for a minute,

1 to my colleague, Mark Kaszniak, to further address that  
2 issue.

3 MR. KASZNIAK: That's correct, Don. So far  
4 we've only uncovered one potential past incident that was  
5 addressed in the process hazard analysis to date. We're  
6 doing further investigation on those analyses, and still  
7 trying to understand them by interviewing some of the  
8 people who were involved in those analysis at the refinery  
9 to try to get additional information on just what was  
10 discussed during those PHA meetings.

11 MR. HOLMSTROM: Thank you, Mark.

12 CHAIRMAN MERRITT: Thank you very much, panel.  
13 I really appreciate the work that you've done and this is  
14 a very complicated subject, and I think you've done a  
15 marvelous job of putting it in terms that I certainly  
16 could understand, and I hope others could understand as  
17 well, as to what you have learned to this point.

18 MR. HOLMSTROM: Thank you.

19 CHAIRMAN MERRITT: Thank you very much.

20 At this time, I would like to open the floor  
21 for public comment. I'll call your name -- and I  
22 apologize if I don't get the pronunciation right -- if you  
23 would, for our stenographer, please state your name when  
24 you come to the microphone. This is an open mike right up

1 here in the front. And everyone is welcome.

2 If others who have not registered yet for  
3 public comment would like to, then please go to the desk  
4 outside and give them your name so that I have it and I  
5 can call on you.

6 The first person registered is Chris  
7 Kightlinger.

8 MR. KIGHTLINGER: I'd like to just thank the  
9 panel for trying to help with this terrible thing that has  
10 killed so many people.

11 My name is Chris Kightlinger. I am upset with  
12 the Amoco Texas City refinery. It just -- even the  
13 contract workers trying to work hard; let them live in  
14 peace.

15 As someone brought to my attention, you should  
16 treat others with dignity. I was escorted to the gate  
17 with my pen. Where good people cannot be allowed to work,  
18 these accidents will continue.

19 I'm unhappy with oil businesses, because  
20 they're willing to pay more of their wages to a contractor  
21 just so they can be exempt from a lawsuit and keep us from  
22 a fair wage.

23 I always hear how BP is good. I remember two  
24 years ago they disputed paying taxes. This raises

1 homeowners' [indiscernible] to work. This refinery never  
2 cared about hiring locally. This expense of  
3 [indiscernible] causes youth to just stay with their  
4 drugs.

5 What can be done about crime in Texas City,  
6 other than make me move out? Amoco employees want police  
7 protection, too. I'm asking Amoco to pay for bulletproof  
8 windows on the police vehicles. It came to my  
9 attention -- Detective Joe Stanton -- I noticed on his  
10 plaque his vest saved his life, and he brought this to my  
11 attention.

12 That's about it. Thank you very much.

13 CHAIRMAN MERRITT: Thank you very much.

14 Mr. John Wagner.

15 DR. WAGNER: My name is Dr. Wagner. In past  
16 experience, I worked for Exxon and helped develop walk-  
17 through safety protocols as a vice chairman and chairman  
18 of their safety technology in Floren Park. More recently  
19 I taught fire protection engineering for close to 25  
20 years.

21 It's indeed a pleasure for me to see one of my  
22 master's candidates, Mr. Giby Joseph, doing a fine job for  
23 the Chemical Safety Board, and the Chemical Safety Board  
24 presentation's top notch.



1 I'm a little confused, based on my experience,  
2 in knowing that a typical large refinery, say, in the  
3 350,000 or 400,000 barrels a day of processing, has some  
4 350 to 500 combustible gas sensors. And I'm wondering  
5 how many sensors did BP have in their -- that you found  
6 from the inspection?

7 CHAIRMAN MERRITT: Well, we will -- if you  
8 would make your statement, and we will --

9 DR. WAGNER: Okay.

10 CHAIRMAN MERRITT: -- continue --

11 DR. WAGNER: All right.

12 CHAIRMAN MERRITT: -- we don't -- we'll take  
13 that into consideration.

14 DR. WAGNER: Okay. Typically, combustible gas  
15 sensors are employed as early warning, and with such a  
16 massive release, it perplexed me that nothing I could read  
17 anywhere had any relevance on combustible gas sensors.

18 The second point is, I noticed there was a  
19 failure in the liquid level controller. The principles of  
20 safety engineering that I taught, those key points,  
21 critical points need redundant sensing. And I'm wondering  
22 whether there was redundant sensing.

23 That's all I have to say. Thank you.

24 CHAIRMAN MERRITT: Thank you very much.

1 DR. WAGNER: You're welcome.

2 CHAIRMAN MERRITT: Mr. Phillip, Harry Phillip.

3 MR. FILLIP: I've been a homeowner in Texas  
4 City at 301 12th Street, southeast of American Oil. A lot  
5 of time their flare -- they say about flares, they can  
6 prevent accidents.

7 Well, they sure do make a lot of noise and  
8 they -- I call the police and say they disturbing the  
9 peace by having those flares rumbling and all that noise.

10 And I can't understand why BP wants to be -- help the  
11 homeowner, why they're not even listed in the phone book.

12 Can you answer that? I'd like to know why they're not  
13 even in the phone book.

14 And so I know Able Garza; he's my relative, and  
15 he lives across the street, and my fence is -- cyclone  
16 fence is all rusted from the chemical pollution. A lot of  
17 times pollution is so bad, I have to turn the air  
18 conditioner off because of the smell that comes from one  
19 of the refineries. Maybe it's BP, maybe it's Marathon,  
20 maybe it's Texas City refinery. They make -- they're  
21 either making the gas and stuff like that.

22 I thank you very much.

23 CHAIRMAN MERRITT: Thank you, sir.

24 Mr. Mike Wright.

1 MR. WRIGHT: Thank you, Chairman Merritt. My  
2 name is Mike Wright. I'm a member of the Steelworkers  
3 Union, I'm the head of the Union's health, safety, and  
4 environment department.

5 We are, of course, the Union that represents BP  
6 workers in this refinery, and most of their other American  
7 operations. And, of course, we represent the majority of  
8 unionized oil and chemical workers across the country.  
9 And I'd like to give a brief statement on behalf of the  
10 Union.

11 First, we'd like to thank the Chemical Safety  
12 Board for this meeting, and for all of your excellent work  
13 on the March 23 accident, and may other industrial  
14 tragedies.

15 In particular, we'd like to thank you for the  
16 August 15 recommendation to BP for an independent panel  
17 investigating the company's safety management system in  
18 all it U.S. refineries. And, for more recently, the  
19 October 25 recommendation to the petrochemical industry in  
20 general on the safe siting of trailers on the plants'  
21 site.

22 We hope that recommendation is followed rapidly  
23 with one on the atmospheric venting of uncombusted  
24 flammable liquids and gases. We eagerly await that kind

1 of recommendation, because I think that's obviously of  
2 relevance for the whole industry.

3 And, of course, we'd like to thank you for this  
4 meeting, and for the interim report.

5 As the CSB's investigation, as well as the  
6 Union's investigation proceed, we're learning more and  
7 more about what went on on March 23. And more  
8 importantly, what went wrong in the years leading to it.

9 We've only had a few hours to review the  
10 statement released by the CSB this morning, but it's  
11 entirely consistent with what we are finding in our own  
12 investigation as the Union.

13 We've also read the company's press release.  
14 BP claims that the CSB's findings are inconsistent with  
15 their own. Since they've provide no detail, we'll have to  
16 wait and see.

17 But the company's release contains at least one  
18 falsehood. BP says they have "cooperated fully with all  
19 the bodies who have requested information." To date, they  
20 have refused to turn over a single document to the Union,  
21 in contrast to their public statements, and, in fact, in  
22 violation of the Union's rights under federal labor law.

23 We've offered to protect their trade secrets  
24 and the privacy of individuals, but to no

1 avail. And currently the issue is in the hands of our  
2 lawyers, and we are likely to go to litigation.

3 Although the investigations continue, there's  
4 little doubt about many of the factors that led to the  
5 March 23 tragedy. Safety procedures were confusing and  
6 conflicting procedures sometimes applied to the same  
7 operation. Some procedures existed only on paper; many  
8 were dangerously out of date, having never been upgraded  
9 as the process changed.

10 Sonny Sanders, the U.S.W. International  
11 Representative who services this area, and a former BP  
12 worker, is going to talk more about procedures in a  
13 minute.

14 In addition, training was sporadic;  
15 instrumentation was inadequate and poorly maintained;  
16 maintenance was poor; prior accidents and near misses were  
17 never investigated, or the investigations were just seen  
18 as an inconvenient formality to be done as quickly as  
19 possible.

20 The company failed to learn, even from past  
21 OSHA citations. The investigations continue, but one  
22 conclusion is inescapable, this was a failure of the  
23 entire safety management system in Texas City.

24 Again, on behalf of the Union, I'd like to

1 address a couple of comments to BP, and my colleagues from  
2 the Union tell me that there isn't much BP management  
3 here, but I assume that they'll hear about this  
4 eventually.

5 First, the CSB's work to date makes it clear  
6 that March 23 was, indeed, a failure of the entire safety  
7 system in Texas City, and the corporation. It was not the  
8 fault of a few individuals. We hope that BP will take  
9 this opportunity to reinstate the six workers, three  
10 Union, three management, who were wrongly blamed for the  
11 accident and then fired.

12 Now some may think that six dismissals are  
13 insignificant, even trivial, compared with 15 deaths and  
14 170 injuries. And stated that way, I would certainly  
15 agree. But it's not a question of jobs, it's a question  
16 of fairness and justice. And fairness is never  
17 insignificant and justice is never trivial.

18 In fact, the only real failing of those six who  
19 were fired is that they were unlucky enough to be on duty  
20 when BP's broken safety management system, its acceptance  
21 of unsafe procedures, often without regard to the written  
22 rules, its past decision not to replace blowdown drums and  
23 vent stacks with safer systems, its flawed decisions on  
24 trailer siting, when all those factors came together in a

1 perfect storm of cause and effect to produce the March 23  
2 tragedy.

3 If those six individuals deserved to be fired,  
4 then so do several thousand other people in the  
5 corporation, beginning at the very top in London.

6 There's another even more important reason for  
7 reinstatement, so long as the company can conveniently  
8 blame a few individuals for the accident, it will fail to  
9 truly understand the real root causes and will fail to fix  
10 the system that created them.

11 Finally, again addressed to BP, in the effort  
12 to truly improved safety throughout the corporation, the  
13 Union offers its full cooperation to BP. We have indeed  
14 been critical of you in the past, and tonight. But we are  
15 not your enemy, and you're not ours. Unsafe conditions,  
16 faulty engineering, inadequate procedures are our mutual  
17 enemies, the Union and the company.

18 We represent workers in scores of industries  
19 and thousands of work places. We have a lot of experience  
20 in safety. We'd like to combine our experience with  
21 yours, with BP's knowledge and expertise in a cooperative,  
22 mutually respectful way at all levels in the corporation.

23 And we'd like to do that immediately. The  
24 independent panel will tell us a lot, but it won't report

1 for a year. Unless BP proposes to shut down its  
2 facilities in the meantime, we'd better get to work now.  
3 Our members, BP's employees, their families, the  
4 communities around BP's plants, deserve our best efforts.

5 My thanks again to the Board for this  
6 opportunity to speak and for all your fine work in Texas  
7 City and elsewhere. Thank you.

8 CHAIRMAN MERRITT: Thank you.

9 Mr. Sonny Sanders.

10 MR. SANDERS: Madam Chairman, my name is Sonny  
11 Sanders. I'm a resident of Texas City; I'm a former  
12 refinery worker and a union representative for the United  
13 Steelworkers. I'd like to echo my colleague's endorsement  
14 of the findings of the Chemical Accident Safety Board. I  
15 didn't know he was so eloquent, or I'd have asked to speak  
16 before him.

17 I'm rather encouraged that the title of your  
18 report is a preliminary report, that you haven't taken the  
19 same out as your sister agency, rush to settlement with a  
20 fine -- while maybe is significant to me, is nothing more  
21 than a parking citation to this corporation.

22 There are a couple of things I would like to  
23 talk about. On page two of the press release today, Mr.  
24 Holmstrom started -- mentioned in the fourth paragraph



1 about start up procedures. This is an area that the Union  
2 feels the Chemical Safety Board should really delve into.

3 In this particular case, on the day of the  
4 accident, there were at least two start procedures being  
5 used by operations personnel. These two procedures, while  
6 similar, did not deal with the actions that needed to be  
7 done on that date to prevent this accident, or this  
8 tragedy.

9 There's several other things too, that there  
10 seems to be a general attitude that while start up  
11 procedures are required by the OSHA 1910 standard, in this  
12 refinery, they're treated in some cases as guidelines.  
13 There was a deviation from start up procedures on another  
14 unit shortly after this accident.

15 And while it was questioned -- while the  
16 operators on that unit questioned the deviation, the  
17 management informed them the these start up procedures  
18 were merely guidelines. So there seems to be an attitude  
19 about something required by the statute not being adhered  
20 to and being treated as guidelines, as a step by step  
21 guideline, or step by step requirements on how you bring  
22 up a process unit.

23 So we would like for the Chemical Accident  
24 Safety Board to expand the questioning about procedures in

1 that plant, start up procedures and how they're utilized.

2 The final comment that I'd like to talk about  
3 is about staffing. Now there were some questions by one  
4 of the panel members about staffing in that refinery. The  
5 board operator who was working that day was looking at  
6 three different processes in addition to bringing up the  
7 fourth. Staffing is an issue and we feel that it should  
8 be addressed.

9 Thank you.

10 CHAIRMAN MERRITT: Thank you very much.

11 Yotarsha Baker.

12 MS. BARKER: I'm Yotasha Barker. I'm a  
13 construction engineer. I put in the first phase of that  
14 project that they did at BP, we did in Oklahoma at the  
15 General Motors plant.

16 There's a lot of things that I think that have  
17 brought Texas City down, and we should all be aware of it,  
18 that staffing, as he said, is a problem. We've always  
19 been a Union city here. The Union's always taken over.  
20 We worked for a long time without a lot of work.

21 This contractor that BP hired has yet to come  
22 forward to say anything. Nobody has ever said anything  
23 about the major contractor. And they subcontracted all  
24 the work out, so that left the Union out of the loop

1 period.

2           And I would like to say the same point of I  
3 live in that community. BP has yet to do anything in the  
4 community. And they went from a pneumatic system -- well,  
5 they went to a pneumatic system with just that one  
6 contractor who subbed all the work out.

7           And I feel like that BP really should, and they  
8 owe it to our community, to work with our Union here.  
9 Because the Union people -- Amoco used to be a Union  
10 company, and the Union has always built their own, and  
11 they've always taken care of their own plant, they train  
12 their workers.

13           When we were in Oklahoma, we trained the  
14 workers. And that's part of it. You train them. Here's  
15 an opportunity for the Union here in Texas City to be  
16 trained for the pneumatic system that they put in. So the  
17 Chemical Board here -- and the Board here, I'd like for  
18 you all to just mention that to them, you know.

19           We need an opportunity here for our people to  
20 work and it'd be part of our community and build our  
21 community. When that plant went down, that was two days  
22 before the project manager ever arrived, because nobody  
23 lives within 20 miles of that plant.

24           So we need to take a look at that, because

1 that's a big standpoint of having safety. You need to  
2 have somebody within that neighborhood that can come out  
3 immediately to take charge, and there was none. And I  
4 live two blocks from the plant.

5 CHAIRMAN MERRITT: Thank you.

6 Mr. David Wilson.

7 MR. WILSON: Yes, I'm David Wilson. I'm a  
8 contractor out there, and I was there the day of the  
9 explosion. As a matter of fact, the trailer -- they  
10 showed it -- 260 feet away, that was my office.

11 My concerns -- first of all, I'm glad you're  
12 addressing all the concerns of what can be done after the  
13 fact. But my concerns are more before the fact and what  
14 we can do in preventative measures to make sure this --  
15 things like this don't happen again.

16 They hold the contractors liable for everything  
17 that we do. We have to go to safety meetings every day,  
18 we have to be put through safety standards that operations  
19 and BP employees, or employees of any other plant, never  
20 have to follow the same safety guidelines that we do.  
21 They should; it should be across the board. Safety is for  
22 everybody.

23 One of my concerns also is that there should be  
24 more of a universal safety standard throughout the

1 industry. I know that a lot of us contractors -- we do  
2 travel from refineries to refineries -- we go through  
3 different alarm systems at each plant. It gets confusing.

4 We've got different emergency numbers that we have to  
5 contact, that gets confusing.

6 The color code system on the piping that BP  
7 Amoco -- your nitrogen is in an orange system. At other  
8 refineries it's on a green system. Well, the green system  
9 at BP is safety shower water. So you can understand that  
10 the concerns that we have of having a color coding system  
11 being universal throughout the industry could prevent a  
12 lot of problems too.

13 I do appreciate the steps that are being taken  
14 towards the investigation. I do notice that out at the  
15 plant presently things are changing as far as safety goes.

16 I do think that one thing that I still don't see changing  
17 is the employees of BP, or of the such they don't have to  
18 follow the same safety standards we do.

19 If I was caught without my harness on one of  
20 the scaffolds, they would escort me to the gate. And they  
21 can get around on the scaffolds, they don't -- they can  
22 take their eye wear off, they can -- they get away with a  
23 lot more than we do, and I think to set an example they  
24 should lead by example.

1 Thank you.

2 CHAIRMAN MERRITT: Thank you.

3 Now, I can't read the last name on here, but  
4 the first name is Gretchen. Is there a Gretchen who  
5 wanted to speak? Oh, I'm sorry. Would you spell your  
6 last name, please?

7 MS. BRUNER: My name is Gretchen Bruner,  
8 B-R-U-N-E-R. My father was killed at BP on March 23, and  
9 he was innocent. So needless to say, we have a lot of  
10 questions and concerns.

11 I'm going to comment on Mr. Bresland's comment  
12 also earlier about the '92 citation from OSHA. If OSHA  
13 citations, which are obviously made for prevention, if  
14 they're going to be settled and withdrew, you know, what's  
15 the purpose and would BP change their negligent ways in  
16 the future when this happens again?

17 And to go along with that, in the future, when  
18 BP is negligent again, because you don't have a year --  
19 you don't have years of history like this and change, the  
20 fines will be dropped again.

21 They do not have to comply with OSHA  
22 recommendations because they are recommendations.  
23 Contractors like my father, who are killed or injured  
24 there, do not go on the record, and they don't have to pay

1 a fine that exceeds more than two hours of work. So it  
2 seems that they are not punished. Why would they change,  
3 like I said?

4 So basically, you know, we just have the  
5 questions that why will BP change in the future when it's  
6 been like this for so long? Thank you.

7 CHAIRMAN MERRITT: Thank you.

8 Mr. Art Kelly.

9 MR. KELLY: I come here as an outsider, because  
10 I live in LaPorte. But plant safety is a matter of deep  
11 concern to me. I'm a retired chemical engineer, and I'm  
12 an active member of LaPorte CAC, the Citizens Advisory  
13 Committee. I think it's the largest one in the country.

14 Each month, about somewhere between about 30  
15 plants report to citizens, and these regular citizens,  
16 members of the school system, members of the local -- the  
17 officials of the City of LaPorte, and these gentlemen,  
18 under the pressure, the peer pressure of the citizens and  
19 under the peer pressure of their -- dealing with their  
20 colleagues, do a very earnest job.

21 One of the things that's expected of them, any  
22 accident or any fine is reported monthly to the citizens  
23 of LaPorte. And I think this pressure has a substantial  
24 effect on the plant managers.

1 I'd like to be very clear so there's no  
2 misunderstanding, I am not coming here trying to represent  
3 the LaPorte CAC. I just come here as an individual who is  
4 a member of that CAC. I think the chemical and the  
5 refining industries have done good work in this country,  
6 and I'm proud to be a chemical engineer.

7 But I am ashamed to see a company that has been  
8 cited, I believe, for 190 egregious violations of  
9 appropriate practices by OSHA, and that, to me, is  
10 unfortunate. It would be interesting to see a comparison  
11 of the OSHA reports and the Board's report at some point  
12 in time. Thank you.

13 CHAIRMAN MERRITT: Thank you.

14 Mr. Jack Ploss.

15 MR. PLOSS: My name is Jack Ploss. I'm a  
16 citizen here in Texas City. I'm 69 years old, and I  
17 worked for 50 years in and around the refineries. And  
18 these gentlemen, to me, appear to have done a great job in  
19 going through this and finding how it happened.

20 And it's a beautiful presentation, and I think  
21 that -- there's one thing I would like to ask, and maybe  
22 part of the equation that should be put into this is, in  
23 the 50 years that I've been in the industry, I've noticed  
24 that, to me, there's the employees, whether it was the



1 operator who was on the board, or the guy that left to go  
2 home in the family emergency, or his boss, or the plant  
3 manager, there's just not that level of conscientiousness  
4 that used to be 40 years ago.

5 And is there any way to measure that to see how  
6 that attributed to the accident? And is there any way to  
7 improve that? I'm an old man, I'm retired. But I don't  
8 want to see anybody die. And I do think -- and maybe it's  
9 just an old fogie -- but I do think that the men nowadays,  
10 and, you know, it's a small percentage, but there is a  
11 level of, you know, 4:00 and payday and I'm not going to  
12 do it unless I have to, or I'll sit down, that'll alarm  
13 will go off after a while, or I'll reset it.

14 And working in the industry, I've seen that  
15 deteriorate over the years. And I just think that there  
16 should be some investigation as to how that affected this  
17 whole situation. Thank you.

18 CHAIRMAN MERRITT: Thank you.

19 If there are no other public comments at  
20 this --

21 VOICE: Madam Chair?

22 CHAIRMAN MERRITT: Yes, sir?

23 VOICE: May I speak, please?

24 CHAIRMAN MERRITT: Yes, sir.

1 VOICE: Thank you.

2 CHAIRMAN MERRITT: State your name, please.

3 VOICE: My name is Joe Bilancich. I'm the  
4 chairman of the Union at BP refinery. I have not spoke in  
5 public out of due respect to the families of the tragic  
6 accident that happened on the 23rd of March; however, I  
7 feel compelled to answer the gentleman here who was a  
8 contractor and spoke of training.

9 I'm glad you received training; however, there  
10 is not a higher trained workforce than a BP proprietary  
11 employee. Our operations, maintenance, the training we go  
12 through is expensive, it is constant, and it is the best  
13 there is in the industry.

14 I don't want to take a lot of time. I just  
15 wanted to address it. Thank you.

16 CHAIRMAN MERRITT: Thank you.

17 I'd like to thank all of you who have come this  
18 evening to share your thoughts, and to the families of  
19 those who represent the victims and the fatalities of this  
20 tragic accident. The comments have all been transcribed,  
21 and the CSB will take these comments into account as our  
22 investigation continues.

23 As I said at the beginning of this meeting,  
24 this investigation is the most extensive that this CSB has

1 ever undertaken. A lot of work has already been done by  
2 our investigative team, and with the cooperation of BP,  
3 there's a lot of work yet to be done.

4 We anticipate our final report will be ready by  
5 the summer of next year. Now you notice that the slide  
6 said the fall. This is the Chairman speaking.

7 We look forward to seeing the results of the  
8 safety culture investigation, because I think that's -- we  
9 believe that is an extremely critical part of the equation  
10 of what happened at this facility on the 23rd of August --  
11 23rd of March.

12 We anticipate that the American Petroleum  
13 Institute and the National Petro-Chemical and Refiners  
14 Association will work positively to meet our  
15 recommendation to the industry on the placement of  
16 occupied temporary structures away from hazardous process  
17 unites.

18 I'd like to also remind you that we have an  
19 active website that you may go to to obtain ongoing  
20 information as it's released from the agency on this and  
21 other investigations. And that website, again, is  
22 [www.csb.gov](http://www.csb.gov). The transcription of this meeting will be  
23 posted on that website when it's ready in a few weeks.

24 We pledge to this community that the Chemical

1 Safety Board will continue to work independently to  
2 fulfill our mission to identify the cause of this tragic  
3 incident and to help prevent its reoccurrence, not just  
4 here, but elsewhere in this country where such hazards  
5 might exist.

6 I thank you all this evening for attending.  
7 And with that, this meeting is adjourned.

8 (Whereupon, at 8:15 p.m., the hearing was  
9 concluded.)