

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on the Medical Uses of
Isotopes (ACMUI)

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Tuesday, February 19, 2002

Work Order No.: NRC-248

Pages 1-80

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005

(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
 NUCLEAR REGULATORY COMMISSION
 + + + + +
 ADVISORY COMMITTEE ON THE MEDICAL
 USES OF ISOTOPES
 (ACMUI)
 + + + + +
 TUESDAY,
 FEBRUARY 19, 2002
 + + + + +
 ROCKVILLE, MARYLAND

The Advisory Committee met at the Nuclear
 Regulatory Commission, Two White Flint North, T2B3, 11545
 Rockville Pike, at 11:00 a.m., Manuel Cerqueira, M.D.,
 Chairman, presiding.

COMMITTEE MEMBERS:

MANUEL CERQUEIRA, M.D.	Chairman
DAVID A. DIAMOND, M.D.	Radiation Oncologist
NEKITA HOBSON	Patient Advocate
RALPH P. LIETO	Medical Physicist
RUTH MCBURNEY	State Representative
SUBIR NAG, M.D.	Radiation Oncologist
SALLY WAGNER SCHWARZ	Nuclear Pharmacist
RICHARD J. VETTER, Ph.D.	Radiation Safety Ofc.
JEFFREY WILLIAMSON, Ph.D	Therapy Physicist

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
 1323 RHODE ISLAND AVE., N.W.
 WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ALSO PRESENT:

ANGELA WILLIAMSON

JOHN W.N. HICKEY, Designated Federal Official

I-N-D-E-X

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

<u>AGENDA ITEM</u>	<u>PAGE</u>
Meeting Opened by Chairman Cerqueira	4
Welcome and Opening Remarks by Mr. Hickey	4
Part 35 Review Process	9
Implementation of Part 35 in Agreement States	32
Nuclear Pharmacy Issues	41
Authorized Medical Physicists (AMP)	53
Part 35 and Radiation Safety Officers (RSOs)	68
Adjournment	80

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

(11:22 a.m.)

CHAIRMAN CERQUEIRA: John should we, I guess we could probably start.

MR. HICKEY: Yes, I believe everybody's here.

Good morning, welcome to NRC. I'm John Hickey, chief of the Material Safety Branch and the designated federal official for the Advisory Committee on the Medical Uses of Isotopes. This is an open transcribed meeting, it will occur in three parts, so I'll explain that.

From now till approximately 12:30, we will have a pre-meeting and then break for lunch and the Commission meeting where the Committee meets with the Commission will be at two o'clock in the other building. It's the main Commission meeting room in the other building. And when that meeting adjourns at approximately four, we do not have any more business planned for today and the Committee will reconvene in this room tomorrow morning at 8 a.m. for an all day meeting.

We thank the Committee for their services and we recognize that with our increased security requirements that it's more inconvenient for you to get

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 here and the Commission certainly appreciates your
2 services.

3 For the observers, we will not have any hand
4 outs today. This morning the hand outs will be at the
5 Commission meeting, but tomorrow there will be hand outs
6 made available for the presentations for tomorrow
7 morning. Those hand outs will be available tomorrow.

8 Just to review the security requirements, if
9 you have a visitor's badge, you should confine yourself
10 just to the immediate area of this room and the elevator
11 lobby, the women's room is on the right, the men's room
12 is on the left and then the elevator to exit.

13 At lunch if you eat in the cafeteria
14 downstairs you should keep your visitor's badge, but when
15 you finish lunch or if you don't go to lunch there,
16 unfortunately you have to turn in the visitor's badge,
17 exit this building and walk over to the other front
18 entrance of building 1 to go to the Commission meeting.
19 You cannot walk unescorted through the tunnel with a
20 visitor's badge. If you have yellow badges then you can
21 walk unescorted through the NRC space.

22 If we happen to be here we'll escort you
23 but, unfortunately, we don't have provisions to escort
24 people during lunch unless it's by coincidence because we
25 don't know what people's plans are for lunch.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So that's an overview of the program today.
2 I should also mention that some speakers had conflicts
3 tomorrow so we're having to rearrange some of the
4 speakers for tomorrow and we'll give you a revised agenda
5 for tomorrow before the Commission meeting this
6 afternoon. And with that I will turn it over to Dr.
7 Cerqueira, but we have a question from Dr. Diamond.

8 DR. DIAMOND: John, for those of us with
9 bags or coats, should we leave them here or take them
10 across for the Commission briefing?

11 MR. HICKEY: Can we lock this? Okay. We're
12 going to lock this room when we leave so the members can
13 leave things here. The other people when the meeting
14 adjourns, will have to take their belongings with them.
15 That was a good question.

16 Yes, sir, Dr. Cerqueira?

17 CHAIRMAN CERQUEIRA: John, just in terms of
18 the changes in the agenda, if we could get that agenda
19 out because I'm sure some of the people that are here
20 just for specific activities tomorrow would probably like
21 to get some idea of when their interested area will be
22 presented.

23 MR. HICKY: Okay, we'll have that ready by
24 noon. We can get that ready quickly.

25 Dr. Nag?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. NAG: John, also that with the increased
2 security level, we have to arrive in the airport a lot
3 earlier than we normally have to. Is there any way to
4 make sure that we end up -- is there any way to compress
5 tomorrow so that we don't have to be here till five or
6 something like that?

7 MR. HICKEY: Okay, well I think --

8 DR. NAG: Because many people will have to
9 leave to make the last flight out tomorrow.

10 MR. HICKEY: Okay. Well I think Dr.
11 Cerqueira and I will do our best to keep things moving
12 and get done as early as possible.

13 CHAIRMAN CERQUEIRA: If I cut people off
14 don't get too upset with me because we'll certainly --

15 Well, again, I'd like to welcome all the
16 other committee members here and all of these precautions
17 are really a sign of the new era that we're all living
18 in. And, again, I'd like to also apologize for the
19 lateness with which we were able to get some of these
20 things together for today's meeting. We compressed it
21 into a short time period, didn't give all of you adequate
22 time to review the material, and part of what we're going
23 to do this morning is actually go over some of the
24 presentations and take comments from people.

25 So I guess all of the committee members then

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have the slides that have been put together for
2 tomorrow's session in the appropriate NRC format. I'd
3 like to thank Dr. Williamson for reducing his, which I
4 know was a daunting task, so John my idea before the
5 briefing was to sort of go through the slides and to
6 basically take comments and get input from the people,
7 both the people that are going to be presenting as well
8 as other committee members. Does that sound like a
9 reasonable plan for the committee?

10 MR. HICKEY: Yes, and I would add for those
11 that have not been to commission meetings, the five
12 commissioners, or how many commissioners are here today,
13 will be on one side of the table, the five designated
14 ACMUI speakers will sit at the table facing them. There
15 are seats for the remaining members immediately behind
16 the designated speakers and we've provided you, I
17 believe, with a list of the commissioners for those of
18 you who are not familiar with the commissioners.

19 And some of the commissioners if there's
20 time, before they start the meeting, will actually come
21 and greet you so if they don't do that, please don't feel
22 bad, that's just because for some reason they feel for
23 the time constraints there's not time to do that, but
24 often they will come out and mix it up with you right
25 before the meeting.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN CERQUEIRA: Okay. Jeffrey?

2 DR. WILLIAMSON: I take it that the approved
3 and edited slides will be projected for us and we do not
4 need to have our own disks or laptops?

5 MR. HICKEY: That's correct. The slides
6 have been provided to the Commission and the technical
7 staff and they're ready to be projected and you'll just
8 have to call for next slide or slide 2, or however you
9 want to designate it. There will be people in the
10 projection room to do that for you.

11 CHAIRMAN CERQUEIRA: Okay. Any other
12 questions or comments?

13 If not, then I think we can sort of go
14 through and I will be starting off the presentation and
15 I was asked to sort of give kind of an overview of Part
16 35 NRC revision process, and there's a total of six
17 slides, including the title slide. And I think if we go
18 through, if we look at slide 2, again I thought that the
19 whole approach was really to be risk ~~conformed~~ informed
20 and performance based, those have sort of been the two
21 buzzwords that have been sort of paramount for the entire
22 process.

23 Having been involved in this from the
24 beginning, I really felt that there was significant
25 stakeholder input, as I will detail in the subsequent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 slides, and the ACMUI was involved extensively. Dr.
2 Barry Siegal had sort of initiated this process and also
3 continued to serve as a consultant during the entire
4 revision process and had a significant amount of input
5 into it.

6 And certainly for the time that I've been on
7 the committee, we've really dealt almost exclusively with
8 the revision process for Part 35.

9 Slide 3 sort of outlines the openness of the
10 process. There were seven public workshops that were
11 held at various stages, there were 20 professional
12 society meetings between the NRC staff. There were six
13 ACMUI discussion, there were two full panels and then
14 there were two subcommittee meetings that were held both
15 for the diagnostic as well as therapeutic.

16 The committee and the NRC staff actually
17 traveled to Illinois to meet for one of the sessions
18 there for the therapeutic, and there have been two
19 agreement state workshops to review the entire process,
20 again giving people ample opportunity to input both from
21 the NRC as well as the agreement states.

22 The states were involved through the OAS,
23 through the Radiation Officers, and there was a Part 35
24 working group. And in terms of public input, there were
25 225 written comments that were sent to the NRC at various

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 times. All the documents were posted on the NRC web site
2 and all of the working groups, full committee meetings as
3 well as the public workshops, were all pretty much open
4 meetings.

5 And I think the result of this was that
6 there was, you know, and again we could have some
7 discussion, that overall there was a reduced regulatory
8 burden in terms of what was put into the regulations.
9 There was a feeling that there was an elimination of
10 unnecessary rules, and overall there was a decrease in
11 the prescriptiveness which was present prior to this.

12 And I think all of us were sent copies of
13 the NRC commissioners response to Congress regarding some
14 of the issues that had been brought up, and I think some
15 of the issues that came up where that perhaps the
16 guidance documents were imposing some new rules, and I
17 felt that there was a commitment to basically attempt to
18 eliminate some of those.

19 Jeffrey?

20 DR. WILLIAMSON: Well, I think to make the
21 blanket statement that there's decreased prescriptiveness
22 is not correct. I think that you're thinking of it from
23 the perspective of nuclear medicine, where indeed that's
24 true. But I think, if anything, the therapeutic
25 modalities are more prescriptively regulated. A lot of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 stuff that was in guidance and licensing space has now
2 been moved into the regulation.

3 So I think it is not less prescriptive; it
4 is perhaps more in accord with industry standards than it
5 was previously. It's more in accord with ACR and
6 standards of practice and AAPM task group
7 recommendations. That's certainly a positive point that
8 could be made, but it is not less prescriptive.

9 CHAIRMAN CERQUEIRA: That's a good point.
10 I think certainly diagnostic nuclear medicine modalities
11 that's been true, but in terms of the therapeutic I don't
12 think that was decreased to any extent and, if anything,
13 your feeling is that there may have been some increase.

14 DR. WILLIAMSON: I don't think that on the
15 part of the regulated community there was, you know, a
16 feeling that it should be deregulated or that it's
17 necessarily inappropriate.

18 CHAIRMAN CERQUEIRA: Right. But I think
19 that's appropriate.

20 DR. WILLIAMSON: It isn't necessarily
21 inappropriate.

22 CHAIRMAN CERQUEIRA: Right. Other comments?
23 Jeffrey? If he's going to be the problem tomorrow, I'll
24 get you all out of here.

25 DR. WILLIAMSON: While all of this sounds

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 very good, I do believe that the new regulation is not
2 without deficiency and there are some issues, or examples
3 of important issues, where ACMUI input was ignored.

4 And I think two examples that come to mind
5 are the medical event reporting criteria, which when in
6 the physician's judgment it's against the medical
7 interests of the patient to receive this information
8 whether or not there's legal guardianship of the patient,
9 the authorized user is forced to pick out somebody
10 amongst the patient's family or friends to impart this
11 knowledge to. And so that basic conflict never went
12 away.

13 There are problems also with the unborn
14 fetus and embryo exposure reporting rule, too, that are
15 of a similar nature.

16 CHAIRMAN CERQUEIRA: I think those are both
17 good points. Those are points that we made repeatedly at
18 our own meetings and the commission briefings and at the
19 workshops. And, you know, the response that we've gotten
20 is that certainly in terms of public safety and concerns,
21 that the commission and the commissioners felt it was
22 important to leave that in the regulations.

23 DR. WILLIAMSON: But still we can state our
24 view that we believe that that's a continuing problem
25 that was not addressed. And there may be others, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 invite the other members to bring forth other issues that
2 might be important enough that we should mention.

3 DR. NAG: Yes, I think, you know, the way
4 it's written here it seems that mostly in intravascular
5 brachytherapy is basically solved.

6 I think that the other points that have to
7 be discussed, not necessarily that they have been solved
8 and either say, in brief, that this is how it stands but
9 perhaps there are some practices that have to be
10 discussed without greater detail. But basically I think
11 we can do that in the commission and leave the discussion
12 part for later when the ACMUI members can discuss among
13 themselves.

14 CHAIRMAN CERQUEIRA: Right. I think that's
15 a good point because in terms of intravascular
16 brachytherapy there were a lot of discussions, and then
17 the feeling was that certainly at the time that we
18 initiated this, there were no approved devices and there
19 were still a lot of uncertainty as to which devices would
20 be approved. And part of that was to put it into the
21 part 1000 which basically sort of emerging technology.

22 And you're right, we attempted to deal with
23 it but felt that given the lack of approved devices and
24 the uncertainty as to how things would be done in a
25 clinical setting, that we would put it into the emerging

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 technologies.

2 Does the committee feel -- again, these
3 points, the medical event reporting, the unborn fetus and
4 the IVB should be brought up again with the
5 commissioners?

6 DR. NAG: At least to let them know that,
7 you know, these are there, not necessarily that we have
8 the solution or we have the answers.

9 CHAIRMAN CERQUEIRA: So list it as
10 continuing problems not fully addressed or unresolved
11 issues.

12 DR. DIAMOND: Well, I think it would be
13 useful to the commissioners for them to understand the
14 points that still need further work and discussions, so
15 they have a more accurate sense of the issues that we're
16 facing.

17 CHAIRMAN CERQUEIRA: Okay. That's a good
18 point, Niki and then Ralph.

19 MS. HOBSON: Well, following up on Jeff's
20 point, another area that ACMUI recommended and the
21 recommendation was ignored, was on patient notification.
22 I mean we came down on the side that the patient should
23 not be notified unless there was the potential for harm
24 actually being done.

25 CHAIRMAN CERQUEIRA: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. HOBSON: But we were basically told by
2 the NRC staff, well that's just not the way it's going to
3 be, you know, the commissioners want that in there. So
4 our recommendations were ignored in that.

5 CHAIRMAN CERQUEIRA: Okay. So in terms
6 again that sort of medical event reporting, yes, it's the
7 same issue. And, again, how do we deal with the fact
8 that the NRC and the commissioners feel that there is a
9 certain amount of public need?

10 DR. WILLIAMSON: I think let them know what
11 the other point of view is, how it interferes in a
12 negative way.

13 CHAIRMAN CERQUEIRA: Yes, but we did that
14 repeatedly at all the meetings.

15 DR. WILLIAMSON: All you can do is keep
16 bringing this to them. I don't think we should just
17 capitulate and say, okay. We shouldn't turn into
18 apologists for the commission.

19 DR. DIAMOND: To my thinking we have
20 repeated discussions on these issues and we make
21 arguments or recommendations based upon what we perceive
22 is the logic. But what I don't see is the feedback in an
23 official formal way why did they choose to decide
24 otherwise?

25 In other words, a decision is rendered but

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there's no discussion behind that, at least that I tend
2 to see on these issues. So I'd be very interested to see
3 what the rationale was with respect to their reporting
4 criteria. Maybe that would help me understand where
5 they're coming from, and the same goes on the other
6 issues.

7 CHAIRMAN CERQUEIRA: Again, I think during
8 the meetings we had discussions, not as direct with the
9 commissioners, but certainly with the staff. And, you
10 know, there's sort of the scientific issues of how much
11 risk is involved with the levels of radiation, certainly
12 for diagnostic, and then sort of the public perception
13 fear about the use of radiation.

14 I think certainly a lot of concerns about
15 cover up. I mean a few years ago they were doing all
16 these investigations into sort of human experimentation
17 with radiation in the past, and there was certainly a lot
18 of public awareness that people early on were not being
19 informed adequately of what the risks were.

20 And so I think the feedback that we've
21 gotten from both the staff and the commissioners was they
22 felt that, you know, even though you can make a good
23 strong scientific logical argument that the risks are
24 minimal, there's still this concern about cover up, not
25 informing people adequately, and they felt that for that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reason they needed to include it.

2 Jeffrey?

3 DR. WILLIAMSON: I believe that that is not
4 the reason why it was rejected. And John can comment on
5 this, he would know better than anyone else in this room
6 I expect. But I believe the concern is that, you know,
7 there are abnormal event reporting requirements that the
8 NRC has made a commitment to Congress to report. And
9 these are specified in terms of dose, absorbed dose
10 levels, and make no reference to the sequelae that
11 ensue.

12 And so it was sort of an issue between the
13 lawyers who were insisting that the medical event
14 reporting requirement be made consistent with these other
15 precedents versus, I think, a more medically informed and
16 rational approach. And I'm not sure if this is true, but
17 it seemed that the bottom line was that the commission
18 was confronted with having to possibly go back to
19 Congress to amend the AE criteria if they accepted the
20 recommendation of the ACMUI.

21 Others may remember, but it was a very
22 technically involved explanation.

23 CHAIRMAN CERQUEIRA: Is that your
24 recollection?

25 DR. WILLIAMSON: Basically, the NRC

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 attorneys killed it. It had nothing to do with these
2 rational arguments.

3 MS. MCBURNEY: I believe it had to do with
4 the requirements for reporting to Congress at certain
5 desk levels. Is that right?

6 MR. HICKEY: Well, I'm not up to speed
7 because some of these go back a while. I think that both
8 of the issues discussed by Dr. Cerqueira and Dr.
9 Williamson and Ruth McBurney were factors, but I think
10 Dr. Diamond's point is well taken is it is our intent to
11 provide feedback, not just to the committee but to
12 anybody who makes comments. The comments were not
13 ignored. They were considered and the staff or the
14 commission disagreed with the final position, you know,
15 what final position should be taken.

16 But certainly there's ways we can provide
17 you with better feedback so it's clearer what the
18 reasoning was behind taking the positions.

19 CHAIRMAN CERQUEIRA: Okay. I think, you
20 know, some of these issues are reasonable issues and
21 certainly after page 6, the results, I think we can
22 include that information as sort of unresolved issues or
23 sort of continuing problems that have not been fully
24 addressed.

25 And I guess the other thing is we are an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 advisory committee and it sometimes is difficult for us
2 to realize that, you know, we feel that we're right about
3 these issues but we can only advise and we don't dictate
4 the policy.

5 Ralph, I think you've been waiting the
6 longest here.

7 MR. LIETO: Well, I just had two questions,
8 or a comment and one question. The comments on the
9 involvement of the ACMUI, as Jeff brought up in terms of
10 the reasoning for feedback and so forth, in the Part 35
11 revision they are eliminating any reference to the ACMUI
12 in revision.

13 Now the supporting comments and so forth
14 seemed to indicate that, you know, it's not meant that
15 the committee's going to go away or anything like that,
16 but there seems to be the removal of any statutory
17 reference to the committee having to be there. Okay.

18 The other question --

19 CHAIRMAN CERQUEIRA: Maybe we should get
20 John to address that and then take your next question,
21 again, I'm not sure that, you know, so just reference
22 until the future existence.

23 MR. LIETO: Well, I raise that in light of
24 the fact that there seems to be recommendations coming
25 from the committee to the commissioners and staff and yet

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they're either ignored and/or there's no feedback as to
2 why that occurs.

3 And then reading in his support document
4 that went to Congress about the changes to Part 35
5 referencing the diagnostic portions and so forth, at the
6 ACMUI reference regarding advisory need and so forth, is
7 being removed. Now, it may not be a big thing, and I
8 don't know, but it just seems in light of what the
9 comments are here, it just kind of raises a red flag.

10 CHAIRMAN CERQUEIRA: Well I think maybe part
11 of the answer to that is some of this feedback comes
12 during these discussions, it comes during the briefings
13 with the commissioner and all of this, you know, these
14 are dictated minutes that come out of all of this, plus
15 summary, but the problem is it's difficult to get that
16 information.

17 I think it will be appropriate for the
18 committee, even though we are an advisory committee, we
19 could request that, you know, we could send specific
20 recommendations, and we've tried to do that in the
21 minutes from the last several sessions, and we could
22 request it rather than having staff interactions or
23 discussions, that we get formal, in writing
24 documentation, because Jeffrey and I have a different
25 understanding of why we aren't doing some of this.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So Jeff, do you think that would help
2 clarify it?

3 DR. WILLIAMSON: Well, we've had an
4 unfortunate lapse where we don't have minutes anymore so
5 I think it's very difficult for the last two years to
6 figure out what this committee's done, unless you want to
7 wade through the huge stack of transcripts which nobody
8 is going to take the time to do.

9 I hope we are going to be back on track of
10 having minutes again --

11 MR. HICKEY: Well --

12 DR. WILIAMSON: But there were back in the
13 period referred to, minutes that should be available that
14 were prepared by the previous chair people that perhaps
15 we should ask NRC to try to make more available to us on
16 the web site or something.

17 MR. HICKEY: Yes. Our intent where a
18 recommendation was made to clearly document that
19 recommendation and provide a memo back to the committee
20 on what our response was to that recommendation, and we
21 have done that through I think late 2000 and early 2001.

22 There was one recommendation made in October
23 that we haven't responded to yet, one reason being
24 because it's still got to be discussed with the
25 commission today, and so I held off responding to that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 until after this meeting. But our intent is to clearly
2 document the recommendations and provide a formal written
3 response back to the committee.

4 Now maybe we didn't do a good job of
5 distributing the responses to those recommendations, but
6 we can do a better job on that.

7 CHAIRMAN CERQUEIRA: So I think that would
8 be a reasonable message to give out, and I think we could
9 probably include some of that at the end of my comments.

10 So, Ralph, does that begin to answer the
11 issue? It still doesn't, you know, again the committee,
12 I mean there's always issues when you're an advisory
13 committee to a government agency, the agency is under no
14 obligation to accept those recommendations.

15 But I think we're putting a lot of work into
16 this and so I think it will be appropriate to request in
17 writing responses, but then that makes it incumbent upon
18 us to ask specific questions, either as a result of,
19 we've tried to take votes at the last meeting so that we
20 can clearly vote upon objects to which we would get a
21 response. And I think we should try to get that.

22 MR. LIETO: The one other thing that I
23 wanted to ask was do you think there should be any
24 statement to the implementation of Part 35, of issues or
25 concerns to the commission because of the fact that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you're going to be, when it's published, licensees are
2 going to start to convert yet there's not going to be the
3 guidance out there for them or that the guidance is under
4 some controversy in terms of its implementation and
5 finalization.

6 And that there's sort of this transition
7 period in timing that I don't know if we've got an answer
8 for them but I think that's going to be a real concern
9 for the regions and the licensees in the NRC regions.

10 CHAIRMAN CERQUEIRA: I think that transition
11 period, and certainly in a response that they made to
12 Congress, they made a commitment to work with the
13 professional medical societies in terms of the guidance
14 documents and to certainly address some of the issues
15 that the SNM ACNP brought up. But there really is no
16 time line on that and I think that certainly sooner
17 rather than later is the appropriate request. So I can
18 make that in the statements as well.

19 DR. DIAMOND: I also do think, I'm sorry.

20 DR. WILLIAMSON: Go ahead.

21 DR. DIAMOND: I also do think it was a very
22 useful decision for the commissioners in their letter to
23 Congressman Callahan to decide not to do a partial
24 implementation but wait for a unified implementation
25 based upon the review of the SNM issues. That would have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 created tremendous confusion and I applaud them for that
2 decision.

3 CHAIRMAN CERQUEIRA: Okay. Dr. Nag and then
4 --

5 DR. NAG: I realize that the AMCUI advisory
6 body and we do make a lot of recommendations. What I
7 think we should ask is (a) the summary recommendation be
8 separately be put forward. I mean we will have the
9 entire transcript, but just the summary of the
10 recommendation be made in one, two, or three page
11 document.

12 No. 2, if the NRC had to go through a lot of
13 things and you have to try everything, but if they are
14 either going against the recommendation of the ACMUI, it
15 should be a requirement that they respond why they are
16 they not following.

17 They don't have to follow us but they have
18 to tell us why they are not following us. I think that's
19 all we ask.

20 CHAIRMAN CERQUEIRA: I think it's
21 appropriate and what I've tried to do at the last couple
22 of meetings is, you know, sometimes we have discussions
23 ad nauseam and then don't reach anything, so I'd like to
24 sort of make motions, take votes on motions, and those
25 things specifically we would want the commissioners

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 through their staff, their individual staff and any NRC
2 staff that supports this committee to respond to us. So
3 I think we could make a --

4 DR. NAG: But that I'm saying the
5 recommendations be taken out and at the end have a
6 separate section. We had a two day meeting, these were
7 the recommendations. I mean they will be in the body of
8 a 100-page document, but at the end there would be a two
9 page document.

10 CHAIRMAN CERQUEIRA: Yes. Well that's
11 Jeff's point. The minutes of the meetings are where that
12 information needs to be extracted and I think we should
13 work for that and, clearly make note of areas where we
14 made motions, we took votes and we want to get a
15 response.

16 MR. HICKEY: Yes, the staff agrees with that
17 also. It's been our intent to do that, so we will make
18 every effort to do that.

19 CHAIRMAN CERQUEIRA: Okay. Niki?

20 MS. HOBSON: Well I just want to follow up
21 on Ralph's comment on the timing. I mean how sure are we
22 that, okay, you publish Part 35 in 30 days and then it
23 will be implemented in six months. How sure can we be
24 that the guidance documents are going to be revised and
25 approved? I don't even know what process we have to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 follow, that has to be followed.

2 But, just having seen how long it takes to
3 do anything, I'm wondering is six months enough to get
4 that huge document revised and commented on and so forth?
5 Or should we maybe encourage the commissioners to delay
6 publication for another 30 days? I mean we've waited
7 this long, couldn't we wait another 60 days, just to make
8 sure that the guidance is there, when the rules are going
9 to be implemented?

10 CHAIRMAN CERQUEIRA: Yes, I guess John,
11 what's the process for the guidance documents in terms of
12 getting them written, approved and implemented?

13 MR. HICKEY: Well, first of all with respect
14 to allowing enough time, I think the mechanism if a
15 decision was made to allow more time, would be to delay
16 the effective date of the rule, not the publication date
17 of the rule. I think we would want to get the rule
18 published. It's essentially already been published, in
19 the sense of being made available to the public, but it
20 hasn't been published as a formal agency action.

21 It is a challenge. The mechanism will be to
22 issue NUREG 1556 as a final document, but it is a
23 challenge because we've now agreed to take a harder look
24 at it and have meetings and have written comments come in
25 which will have to be dealt with.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So the direction from the commission, and
2 feel free to comment on this to the commission, the
3 direction is to have that guidance revised reflecting
4 comments, including more comments from ACMUI but also the
5 public and other stakeholders within that six month
6 process.

7 CHAIRMAN CERQUEIRA: Okay. Jeffrey?

8 DR. WILLIAMSON: Well I think maybe when you
9 raise this issue or talk about your bullet about it being
10 risk informed and performance based, it's only going to
11 be performance based if it's implemented through
12 inspection and licensing procedures in a performance
13 based way.

14 There's enough specific prescriptive
15 regulation in this new Part 35 that they could completely
16 tie up and hamstring anybody by finding some small
17 paperwork or mission or detail. But performance based
18 means that they look at the licensee's overall
19 performance in achieving broad safety targets and are
20 emphasizing less small paperwork infractions.

21 I think in some ways it's not just having
22 this done in time, it's the quality of this document and
23 the quality of the training efforts for the inspectors
24 that go behind its implementation.

25 So I think to emphasize, there's a risk here

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 if they don't do this right.

2 CHAIRMAN CERQUEIRA: Yes, the problem we
3 have is we're talking about, what, 32 agreement states
4 and 18 NRC states so that basically the people that are
5 going to be impacted by this immediately are 18 out of
6 the 50 states. And I think part of the reason to try to
7 get this out there is to try to get more agreement,
8 because the agreement states have up to three years, and
9 we'll hear Ruth's presentation.

10 But I think these are good points and I'm
11 not trying to convey the fact that this is a perfect
12 document but just in terms of the process that we went
13 through, I just don't know another alternative method
14 where we could have gotten input from people. I suppose
15 there were other things that could have been done but
16 it's taken long enough as it is and it's not perfect, and
17 I think certainly we've identified other areas that we
18 can bring up that are unresolved issues and I think we
19 should, you know, basically hammer home those points to
20 the commissioners as Jeffrey has suggested.

21 And then maybe, again within the role of the
22 committee of the process and the whole interaction with
23 the NRC, I think we're sort of evolving towards trying to
24 capture the critical discussion items that occur and
25 trying to get specific feedback from them. We should

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 definitely move in that direction.

2 Richard?

3 DR. VETTER: I just wanted to underscore
4 what Jeff said about implementation, and rather than
5 focusing too much on what happened in the past, look
6 forward to how this is implemented. And therefore the
7 guidance does become very, very critical. And to get the
8 most out of the regulations, to truly be risk informed,
9 performance based, the guidance needs to emphasize that
10 and the NRC in fact will set the tone for the states.

11 If the whole process holds the licensee
12 accountable rather than focusing on the prescriptive
13 nature of the regulations, we can still gain as much
14 benefit as possible out of the current Part 35.

15 CHAIRMAN CERQUEIRA: All right. This has
16 been helpful to me and I think probably we should go on
17 to the next section, otherwise we're going to be here up
18 until the time of the briefing.

19 Thank you for your comments and input and,
20 again, I would have preferred to have circulated these
21 ahead of time to people so we could all get the input and
22 modify them, but we just didn't have the time to do it.
23 So Ruth, do you want to go over your --

24 MS. MCBURNEY: Yes. Basically mine is just
25 going to talking about the implementation of Part 35 in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the agreement states. As Dr. Cerqueira mentioned a
2 majority of the states are agreement states. In fact,
3 probably about 70 percent of the medical facilities that
4 would be impacted by this change are in agreement states.

5 There was considerable involvement of state
6 personnel in the rule making process. In fact, two
7 people on the working group and one or two on the
8 steering committee as well felt that it was a fair
9 process that allowed for input from all the stakeholders.

10 As he also mentioned, the agreement states
11 normally have three years to implement a rule once it's
12 adopted by the NRC. During the rule making process, a
13 parallel process was going on to provide suggested state
14 regulations and so they're ready to be published as well
15 and provided to the states as soon as the Part 35 is
16 published.

17 Some of the states have seen that several of
18 the rules are needed now, some of the rule changes, for
19 example on the brachytherapy, the high dose rate low dose
20 rate brachytherapy requirements, the provisions for new
21 technologies, especially in some of the larger states
22 where the new technologies are coming in fast and
23 furious.

24 So the scheduling of the rule changes will
25 vary from state to state. Some of the states have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 already implemented some of the provisions of the
2 proposed changes that aren't impacting their
3 compatibility with the Nuclear Regulatory Commission.
4 And some states will just wait and may not meet the
5 requirements until that three years is up, because some
6 of the rule making requirements in some of the states is
7 more onerous and takes longer than in other states.

8 For the training and experience requirements
9 for the MD authorized users, ACMUI has recommended that
10 NRC cooperate with the states to get sooner uniformity,
11 more immediate uniformity in the requirements, because
12 this can cause cross boundary issues with physician
13 training programs, And also to approve the boards as soon
14 as possible to facilitate that uniformity.

15 Board certification acceptance makes the
16 approval of users a more efficient process.

17 The Nuclear Regulatory Commission has
18 mentioned on several occasions that they are having
19 workforce issues with a maturing workforce. The states
20 are likewise having those same issues with people that
21 have been trained, have been health physics training and
22 so forth, are getting to near retirement age and there's
23 a lack of trained personnel to take their place in
24 licensing and inspection work. And attracting new staff
25 at the pay scales that the states can offer is really

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 difficult.

2 CHAIRMAN CERQUEIRA: All right.

3 MS. MCBURNEY: Comments on that?

4 CHAIRMAN CERQUEIRA: Comments?

5 DR. DIAMOND: I just would like to mention
6 what I told Ruth privately. The states, particularly my
7 state, Florida, is having tremendous workforce issues so
8 I applaud you for emphasizing that and I believe that
9 this manpower issue may only increase in the next three
10 to five years, as I believe there will be a dramatic
11 increase in the use of radio-pharmaceuticals for
12 therapeutic purposes in the next couple of years.

13 MS. MCBURNEY: We've seen our work load in
14 licensing, in medical licensing, already starting to go
15 up because of some of these newer modalities.

16 CHAIRMAN CERQUEIRA: One of the charges we
17 got from the commission was to basically try to give them
18 ideas, not just Part 35 revision issues but sort of
19 anticipating problems in the next three to five years.
20 And I think this manpower thing that we've all identified
21 is going to be very critical because I mean all of us, no
22 matter what part of, what area we work in, we're all
23 having difficulties so I think it will be an important --

24

25 MS. HOBSON: Well, I just wondered if the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 states or the committee, are there recommendations on how
2 to remedy this? Are there programs that should be
3 implemented, funding that should be --

4 MS. MCBURNEY: We have in the past
5 recommended that NRC reinstitute paying for training for
6 state personnel. They used to pay travel and tuition for
7 certain courses but, of course, they've had cutbacks as
8 well and once they were put on a fee-based system, that
9 all had to go into the fee basis, and it was difficult
10 then for them to provide training for agreement state
11 personnel when it was their licensees that were having to
12 pay for that.

13 We in the states are having to sort of train
14 our own. We were fortunate in Texas to have Texas A&M
15 put on a five week course for us, similar to the one that
16 Oakridge does for state and federal personnel.

17 CHAIRMAN CERQUEIRA: I think we can identify
18 this. Dick had a --

19 DR. VETTER: Yes, back in the late 50s or in
20 the 50s through the 60s and into the early 70s, the
21 federal government pumped considerable dollars into
22 training programs and fellowship scholars in radiological
23 health.

24 In the late 70s through the 80s and 90s,
25 those programs have struggled and today the number of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 health physicists in the system being trained numbers in
2 the ballpark of 100. And so all those people who were
3 trained in the 50s and 60s are gray haired, like me, and
4 we're going to be retiring and there just aren't very
5 many people to replace us.

6 So in health physics alone, let alone the
7 other areas, this is going to be a very critical issue.
8 And someone at a very high level needs to become aware of
9 this and begin asking what they're going to do to try to
10 resolve it. These training programs are going down the
11 tubes.

12 CHAIRMAN CERQUEIRA: That's true for
13 radiation safety officers, health physicists to
14 technologists. I mean certainly all of us that are doing
15 diagnostics, it's a key issue that needs to be addressed
16 and obviously is going to need some resources to solve
17 it.

18 MS. MCBURNEY: There is some legislation in
19 Congress that would provide more scholarship funds for
20 that but nothing that we can --

21 CHAIRMAN CERQUEIRA: Yes, unfortunately, a
22 lot of the training programs, certainly for
23 technologists, have basically closed and there's plenty
24 of jobs out there, but even though there may be
25 scholarships, if the programs aren't available it's going

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to be a problem. John, you had a --

2 MR. HICKEY: Yes. If I could go back to your
3 previous point, when you used the phrase "immediate
4 uniformity" --

5 MS. MCBURNEY: It was --

6 MR. HICKEY: I'm anticipating, maybe the
7 commission won't ask, but what do you see as the role of
8 the commission? Is it to encourage the states to do
9 things as quickly as possible?

10 MS. MCBURNEY: Encourage, right.

11 MR. HICKEY: And I think people are aware
12 that the reason that I'm asking that is the states are
13 allowed three years to implement the rule and they
14 generally resist overtures from NRC to try to get them to
15 implement the rules faster than that as a requirement.
16 Now some of the states do implement it but other states,
17 for one reason or another, can't implement things as fast
18 as we would like.

19 MS. MCBURNEY: Yes, that was my previous
20 one. Dr. Cerqueira was this a slide that you added?

21 CHAIRMAN CERQUEIRA: Well I did, I added
22 some of that material about, you know, and we've got sort
23 of these, from my constituency, the training and
24 experience are going to be a big problem as people go
25 across state lines.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I guess the other question, too, John is
2 that I think the Glenn Commission in the early 90s
3 identified the fact that the NRC doesn't really have the
4 authority to make the states compliant with federal
5 policy. There's no mechanism in place by which they can,
6 you know, get compliance from the states.

7 So what if Texas decides it doesn't like
8 some of these changes and it's just not going to do them
9 period. Is there anything that the NRC can do, short of
10 going to Congress?

11 MR. HICKEY: I'd rather not comment on that
12 at this time.

13 MS. MCBURNEY: That's incompatible with --

14 MR. HICKEY: Well I can tell you my personal
15 understanding is that the NRC can revoke a state's
16 agreement and take jurisdiction for the licensees in that
17 state. That would be unlikely but generally if NRC's
18 unhappy with the way the states are implementing
19 important regulations, the result is the states
20 eventually implement those requirements.

21 CHAIRMAN CERQUEIRA: But again, and I don't
22 recall all the details, but the Glenn Commission did find
23 that that was a major problem that you couldn't get a
24 consistent implementation.

25 DR. NAG: What authority does the NRC have?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Do you have the authority to do that or not? I mean if
2 you find a state inconsistent, either they are more lax
3 or over restrictive, can you do anything?

4 CHAIRMAN CERQUEIRA: We have the authority
5 to revoke the agreement and take jurisdiction of the
6 licensees.

7 DR. NAG: But that's almost unlikely to
8 happen. But only this portion you are overstepping your
9 boundary or something like that, can you do just anything
10 short of revoking an entire license?

11 MR. HICKEY: There are lots of things we do
12 to get states to be compatible, but I'm not a lawyer, I
13 don't know what the legal significance of those things
14 are.

15 MS. MCBURNEY: Every few years each
16 agreement state has a review done, it's called an IMPEP
17 review, Integrated Materials Program --

18 MR. HICKEY: Performance Evaluation Program.

19 MS. MCBURNEY: Right. Right. And as part
20 of that they review the rules, the procedures, the
21 training and experience of the staff, all that, to make
22 sure that it is adequate to protect public health and
23 safety and is also compatible with the program at NRC.

24 Now, certain rules have a higher or lower
25 compatibility level than other rules, and of course

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 certain things like Part 20 has to be almost essentially
2 identical. And then there will be certain parts of Part
3 35 that will have to be identical, or essentially
4 identical. And then there will be other parts of it that
5 the states have more flexibility on.

6 CHAIRMAN CERQUEIRA: But there were
7 different levels of compliance and some of these things,
8 I know with training and experience we basically said it
9 had to be level C compliance.

10 MR. HICKEY: Yes, we call them compatibility
11 levels.

12 CHAIRMAN CERQUEIRA: Yes.

13 MS. MCBURNEY: I think it's a B.

14 CHAIRMAN CERQUEIRA: It's a B?

15 MS. MCBURNEY: Meaning essentially the same.

16 CHAIRMAN CERQUEIRA: The same. But the
17 implementation for that is still within a three year
18 period after six months following the publication in the
19 Federal Register.

20 MR. HICKEY: Correct.

21 CHAIRMAN CERQUEIRA: Okay. Any other
22 questions for Ruth or points that people would like to
23 make? Okay, if not then --

24 MR. HICKEY: If I could just interject, Mr.
25 Chairman, we have the revised agenda here so we will be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 able to hand it out to all the members and the other
2 attendees before they leave today.

3 CHAIRMAN CERQUEIRA: Okay. Again, I think
4 we're sort of captives. We're definitely going to be
5 here tomorrow for the whole meeting, but some of the
6 other people are only here for sections so if you make it
7 available that'll be good. Sally, do you want to go over
8 the sort of nuclear pharmacy issues?

9 MS. WAGNER SCHWARZ: Yes. Actually, along
10 the same lines in terms of numbers of individuals in the
11 field and if their pharmacy kind of faces the same
12 situation, not so much that we're dwindling number wise
13 but that the requirements and, I mean the field is
14 expanding. The need for pharmacists generally is
15 expanding.

16 And so one of the largest growing areas in
17 nuclear medicine for pharmacy personnel is PET and that's
18 not an NRC concern but it certainly does impose a
19 difference for the agreement states. They regulate both
20 byproduct and the accelerator produced materials, but for
21 the NRC regulated states essentially it's the issue of
22 PET isotopes or accelerator isotopes, as well as
23 byproduct material in dealing with dispensing firms. In
24 centralized nuclear pharmacies this issue is already
25 bearing essential increases in hand dose.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I know that within our field we've always
2 tried to work at the ALARA level of 10 percent and so I
3 know that's not a mandate, it's just what we attempt to
4 do in terms of hand and body exposure. But with the
5 introduction of PET, the 511 keV photons essentially
6 bring a difference to the field compared to the 140
7 traditional energy level of most nuclear medicine
8 handling isotopes.

9 So with that thought in mind I just really
10 wanted to do this kind of as an issue that needs to be
11 addressed, for ALARA in using PET we're talking more like
12 35 to 40 percent of the allowable exposure that's being
13 incurred by personnel in working with PET isotopes.

14 So from the inspectors' standpoints, from
15 the NRC who are reviewing these personnel, even
16 attempting to keep things as low as reasonably
17 achievable, this becomes an issue. And it's not that
18 we're not working safe, it's that we are again working
19 with higher energy, and it's not if we could just hire
20 people and have more pharmacists that might be one way to
21 improve the situation, and again there is this shortage
22 of pharmacy personnel that's apparent.

23 And the reason for the shortage, there's a
24 couple of reasons. Pharmacy programs have recently gone
25 from a five year undergraduate degree program to now a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 six year program, and the numbers essentially of pharmacy
2 entrants are about flat. I mean there's not an increased
3 number, but there certainly is an increased demand and
4 not just from PET but from other areas that draw
5 pharmacists in general.

6 So I think that in other words, in order to
7 maintain ALARA levels we do need more pharmacists, at
8 least the lower ALARA levels we do need more personnel.
9 So how are we addressing the shortage as far as pharmacy
10 is concerned? Some pharmacy curriculums, specifically
11 Purdue I am aware of, that is trying to include
12 sufficient electives within their curriculum so that they
13 would be essentially certified with the required training
14 to be able then to go out in the workplace and get the
15 training, on site training hours that are needed for
16 board certification.

17 And, additionally, there are certificate
18 programs available for already graduated pharmacists.
19 These are only three that I list here, Purdue, the
20 University of New Mexico, University of Arkansas, all of
21 which are the larger programs. Some of the actual
22 centralized pharmacies, such as Syncor, does have their
23 own programs so they hire pharmacists and then send them
24 to various training programs.

25 So they do have methods available to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 essentially train individuals, but again we're still
2 short of people to train even having those programs.

3 The next thing that's essentially in the
4 works is the technician training. There always have been
5 pharmacists technicians who have worked in regular
6 pharmacy settings and actually in 2000 there were
7 guidelines actually prepared by the APHA section nuclear
8 pharmacy practice in 2000, guidelines for nuclear
9 pharmacy technicians. So, again, there are certificate
10 programs through APHA for these technicians to be
11 certified.

12 So, again, this may allow us to share dose
13 by bringing more of these technicians to be supervised by
14 the pharmacists on board, but again the issue of money
15 really is something, too. I mean programs again have for
16 nuclear pharmacy gone by the wayside. The particular
17 program I went through at the University of Southern
18 California is no longer available because of funding. I
19 mean it's just gone.

20 And so, again, it's an issue of people, lack
21 of monetary ability, it certainly would be helpful if
22 that was reinstituted but most likely it won't be
23 something that will be on board in the near future.

24 DR. DIAMOND: Sally, are you concerned about
25 the potential for some of your workers actually reaching

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 or exceeding allowable worker limits, for example. There
2 are some centers where a PET center may be a stand alone
3 center in which all they do all day long is PET at very
4 high volume. And that radio pharmacist or technician
5 will only be handling this particular material and will
6 not have access during the day to mixing it with other
7 types of perhaps even lower risk material. Are you
8 seeing that at all?

9 MS. WAGNER SCHWARZ: Yes, we are seeing
10 that. I would not say probably at the limit but
11 certainly you have to continue to change practice, to
12 upgrade, you know, as far as, yes, it's problematic.

13 DR. DIAMOND: For example, at our
14 institution we have a dedicated PET center and that
15 raises a concern perhaps there should be mechanisms in
16 place to ensure that these workers do rotate. Not just
17 for experience and training to keep their skills up at
18 all levels, but also for their own individual --

19 MS. WAGNER SCHWARZ: We currently actually
20 at our institution do try to essentially distribute that
21 dose to the best of our ability. And, again, all of
22 these personnel chemists, technologists and again the
23 shortage of technologists presents a pharmacy issue, too
24 because often technologists have been hired because
25 they've been trained in handling radioactive materials,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to be able to do, you know, the PET production,
2 distribution as well. But they are not really available
3 a lot of times.

4 CHAIRMAN CERQUEIRA: Jeffrey?

5 DR. WILLIAMSON: Well I think that maybe in
6 the course of Sally's presentation would be a good time
7 to mention in general the mixed dose issue, which is very
8 important for interventional cardiology, and any group of
9 people that's getting a larger amount of superficial
10 radiation from non byproduct sources but also handles
11 byproduct radiation, and that is the problem that for the
12 purposes of complying with Part 20. They're forced to
13 use, what is it the deep dose, the DDE, deep dose
14 equivalent, which is defined as the maximum dose to the
15 whole body rather than the effective dose equivalent
16 which can be averaged and weighting factors can be
17 applied to.

18 So that is a major problem that maybe one of
19 us ought to chime in and suggest it really needs to be
20 solved, either by a regulatory initiative or through
21 reinterpretation of the appropriate regulations in Part
22 20.

23 CHAIRMAN CERQUEIRA: So the issue of mixed
24 dose tied into the fact that, you know, we're having sort
25 of a shortage in all the areas of workers. We can't sort

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of divide things --

2 DR. WILLIAMSON: Well that it's exacerbated
3 that because NRC is essentially applying a definition for
4 calculating whole body dose with mixed modalities.
5 That's out of step with what the community is doing. Is
6 that a fair statement?

7 MR. HICKEY: Yes, and in fact the commission
8 has given some direction to remedy that and that's what
9 we're going to discuss tomorrow. That's on the agenda
10 for tomorrow.

11 MS. WAGNER SCHWARZ: At NCRP.

12 CHAIRMAN CERQUEIRA: Right. So this is a
13 separate issue, this is something to a great extent out
14 of the hands of the individual licensees but as the, you
15 know, penetration of technology changes and maybe the
16 diffusion of liquid radio nuclides and non byproduct
17 materials into radiation oncology increases, we could
18 also have the problem.

19 MS. WAGNER SCHWARZ: Yes, absolutely. That
20 is definitely where this is --

21 MR. HICKEY: Right now we don't because we
22 get such low exposures in general that it's not an issue.

23
24 CHAIRMAN CERQUEIRA: So I think if you could
25 bring that point up Sally. Even though it's going to be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 discussed tomorrow, I think it's important for the
2 commissioners to hear it.

3 One question I have. This change in the
4 requirements from five years to six years, was that made
5 by the programs? Was that made by regulatory agencies?

6 MS. WAGNER SCHWARZ: It's actually been a
7 work in progress since I graduated from college. At the
8 time that I graduated, which was 1971, California had a
9 six year program. Really, we've grown over that interval
10 into the six year program, and that really was to
11 accommodate increased training in clinical areas
12 generally as part of total pharmacy, so that graduates
13 are required essentially to increase their --

14 CHAIRMAN CERQUEIRA: Right. Now we can make
15 all of these, you know, make them aware of the concerns
16 about manpower in training. We've identified the
17 problem, but what's the solution? Do we just need more
18 money for this? Is that all it takes? I mean because
19 there are jobs out there but people aren't going to them.
20 Jeffrey?

21 DR. WILLIAMSON: Well, I suspect the
22 radiation safety officer and health physicist part is a
23 little different. Maybe what NRC does or doesn't do
24 could have more impact on that, and that really is a
25 serious crisis.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I think the others the therapists needed,
2 the staff radiation oncology nuclear medicine and other
3 things that probably will be solved by marketplace
4 incentives, you know, you pay those people out of
5 clinical fees garnered by the hospitals. So there is a
6 source of funding for that and it's necessary to get
7 supply back in alignment with demand.

8 But radiation safety officers and health
9 physicists don't generate patient billings. And so I
10 think that is a major issue. They really are, I think,
11 desperately in need of subsidization of some kind or
12 another because they don't enjoy the same benefits as the
13 other para professional people in radiation medicine.

14 DR. DIAMOND: Why -- I'm sorry, go ahead.

15 DR. WILLIAMSON: So I think another, it's
16 probably related to the board certification issue, too,
17 they've managed to undercut the value of American Board
18 of Health Physics certification, that's surely not going
19 to help at all.

20 CHAIRMAN CERQUEIRA: Okay. David?

21 DR. DIAMOND: Certainly I think the
22 marketplace will at some point go and correct those
23 inequities. We certainly are paying our technicians a
24 lot more, technologists, than we formerly had paid and,
25 you know, that's how the system works.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 With respect to their agreement states, in
2 the state of Florida we have certain regulations which
3 dictate how much starting employees can make.
4 Unfortunately, they are out of step with the technical
5 qualifications of these individuals. That, plus the
6 cutbacks in state funding because of our declining
7 economy following 9-11 have all really produced issues.
8 So, again, it's a multi factual process, the states have
9 their own financial issues, there's a marketplace set of
10 issues, and then with respect to the RSOs there's a set
11 of experience and training and board certification
12 issues.

13 CHAIRMAN CERQUEIRA: Subir?

14 DR. NAG: Yes. In terms of funding, I think
15 what we have to see is (a) whatever the radiation safety
16 officer is providing. Is this a direct benefit to the
17 patient. If it is, then just like any other group, you
18 have to lobby the HCFA that, you know, radiation survey
19 is a procedure that has to be done for the benefit of
20 that patient, and there should be a charge associated
21 with that.

22 And if you do it that way, then you get
23 reimbursed for that and then you, you know, with more
24 regulation you will then generate your own income. So
25 that is something I think the radiation safety officers

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 group should try to lobby the HCFA.

2 CHAIRMAN CERQUEIRA: One of my other non-
3 paying jobs is to serve on this CMS, which used to be
4 HCFA and AMA and just looking at what practices should be
5 paid. And I can tell you nothing is going up, it's going
6 to continue to go down. I think again we can identify
7 this issue is that there's increased utilization in all
8 aspects, certainly in PET for diagnostic studies and
9 we're really finding a short that's multifactoral,
10 certainly the maturing or aging or graying of the
11 workforce and failure of people coming into the work
12 environment.

13 The other that's happening, too is there's
14 a shift, and certainly if you're hospital-based you can't
15 pay people what people in private practice can do. And
16 the conditions in an out-patient cardiology practice
17 doing nuclear cardiology are a lot better. There's no
18 call, the patients are usually healthier, so there's
19 issues of distribution as well.

20 I think we can make these points at the
21 commissioner's request. Okay, Sally. Any other comments
22 for Sally or --

23 MR. HICKEY: I'd just like to make a
24 procedural suggestion. Remember that you're speaking to
25 a broad audience of people in this meeting. There's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 going to be other people there besides commissioners so
2 when you use an acronym the first time, like LDR or PET,
3 say what it is. You can generally assume everybody in
4 the room's going to know what ALARA means, but it's
5 better still to explain the acronyms. And for PET, it
6 may be worthwhile to just take a moment to make clear
7 that that's an accelerator technology that's not under
8 NRC jurisdiction, so that that's clear to everybody that
9 this is an influence. It impacts medical care but it's
10 not something that's directly under our jurisdiction.

11 Also, call the slides, like say next slide
12 please, or slide 5 please, so the people who are showing
13 the slides will know where you are in your presentation.

14 CHAIRMAN CERQUEIRA: Okay. Jeffrey?

15 DR. WILLIAMSON: Okay. Well I want to start
16 out making the point that everybody in the community and
17 within the ACMUI I think is pleased at the introduction
18 of the concept of the Authorized Medical Physicist or
19 AMP. That recognition that the physicist plays a much
20 broader role in promoting the safety and efficacy of
21 radiation medicine than calibrating Cobalt 60 units is an
22 important step forward in aligning the regulatory point
23 of view with clinical reality.

24 But, unfortunately, there is a major
25 conflict between the training and experience requirements

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 specified for AMP in 35.51 and the community's definition
2 of qualified medical physicist.

3 The community's definition is that the
4 individual be certified in the appropriate specialty by
5 the American Board of Radiology or American Board of
6 Medical Physics, plus satisfy certain continuing
7 education requirements.

8 The 35.51 specifies a number of
9 requirements, a graduate degree, years of training, but
10 also requires specific experience and training with
11 byproduct modality such as Cobalt 60, teletherapy and
12 stereotactic and high dose rate or HDR brachytherapy.

13 The ABR and ABMP criteria for sitting for
14 the boards as a little different. In many ways they're
15 similar, they require the same graduate degree
16 essentially, require between two and six years of
17 experience to sit for the boards, but they do not require
18 specific experience with byproduct modalities, that's not
19 included.

20 So their emphasis is on assessing the
21 candidates' clinical judgment, knowledge base and ability
22 to independently practice the profession of clinical
23 physics for all modalities.

24 So this is the essential conflict so it does
25 appear that neither American Board of Medical Physics

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 certification nor American Board of Radiology
2 certification will become one of the approved boards for
3 authorized medical physicists.

4 The unintended consequences are, firstly,
5 this can serve to undercut and marginalize board
6 certification. The essential issue is why bother going
7 through the board certification process if it's not going
8 to help you become an authorized medical physicist. I
9 think overall this is a very bad consequence. It
10 certainly does nothing to help promote safety and it may
11 in fact undermine public health.

12 The underlying reason why this is so is that
13 board certification is essentially the only industry
14 standard or credential that defines a qualified medical
15 physicist. Unlike other areas, such as radiation
16 oncology where there are well established residency and
17 training programs, there is no established and accepted
18 single pathway for achieving this level of experience.

19 So the board certification process is really
20 the only quality mechanism to ensure that this experience
21 is of high quality. It may exacerbate AMP shortages by
22 preventing qualified medical physicists from practicing
23 in licensed institutions. There are relatively few
24 opportunities, especially for Cobalt 60 and gamma
25 stereotactic to achieve this training.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So that the remedies listed here are I think
2 short term, two things the ACMUI has recommended, one is
3 unconditional grandfathering of current teletherapy
4 physicists as full AMPs without qualification and without
5 limitation of what modality they can practice, to create
6 a pool of AMPs that can serve as preceptors.

7 The second short term remedy would be to
8 accept board certification as evidence for complying with
9 as many of the 35.51b requirements as possible. So, for
10 example, implementation and guidance space require
11 evidence of supplementary training, for example in Cobalt
12 60 gamma stereotactic, plus board certification, as
13 grounds for becoming an AMP in that area.

14 And, of course, the long term fix is a rule
15 making initiative which addresses this problem and
16 essentially puts the boards back in rule space and
17 replaces the and with an or.

18 CHAIRMAN CERQUEIRA: Okay. And then there's
19 some back up slides for Jeffrey. Subir?

20 DR. NAG: Yes. The requirements that Jeffrey
21 was talking about are no different than that for the
22 authorized user. Quite simple, in the authorized user
23 you have radiation oncology boards, you have general
24 training in radiation oncology, you don't have to have
25 cobalt experience in radiation oncologies without cobalt

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 experiences, they are all parallel.

2 I don't think that any major difference
3 between the AMP, authorized medical procedures, and the
4 authorized user. They have very similar problems, and in
5 the authorized user that has been solved by saying you
6 have to be board certified and show that you have
7 experience in any of these special modalities like gamma
8 knife or Cobalt 60. I think they're all very similar.

9 DR. WILLIAMSON: Well, actually that's a
10 good point and it is quite possible, it seems to me, that
11 radiation oncology certification may not be accepted as
12 the default pathway for becoming an authorized user
13 because the regulations in 35.600 do in fact make
14 reference to byproduct modality specific procedures. So
15 indeed radiation oncologists could find themselves in the
16 same boat as the physicists. So that's definitely a
17 point I wanted to make if I have a moment.

18 I think there is a difference, and that is
19 first of all there are state licensing requirements,
20 which encourage and promulgate the incentive to undergo
21 board certification and hospital credentialing
22 requirements that do and, with the exception of a few
23 states, physicists don't have this and, secondly,
24 radiation oncology does have a uniform clinical training
25 program that by either the alternative TNE or the board

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 certification pathway you have to have. And physicists
2 don't have that, so that's why I view it as a greater
3 risk to the physicist than the radiation oncologist.

4 But I think it is important that board
5 certification is in doubt for physicians, too.

6 MR. LIETO: I was just going to make the
7 point or make a suggestion that the short term remedy
8 you're suggesting really is just to maintain the status
9 quo.

10 DR. WILLIAMSON: More or less. It's exactly
11 what we do as an industry standard that we undergo a few
12 weeks, or hours in some cases, of supplementary training
13 on top of board certification.

14 If I have the opportunity I'll try to make
15 a comparison of the regulatory paradigm of how one learns
16 and the clinical reality. I think underlying all of this
17 is the unrealistically mechanical concept of how people
18 learn to become competent. Somehow this information,
19 knowledge is downloaded into you from a vendor and then
20 you go off and practice correctly. But that simply is
21 not right. You rely on the judgment, skills and
22 knowledge base of the physicist to essentially set up
23 these specialty procedures, design form, design
24 procedures, implement training programs for the staff to
25 make them work.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So it's not that a, you know, specific bit
2 of knowledge is going to make all of the difference
3 between having a successful program or a dangerous
4 program.

5 CHAIRMAN CERQUEIRA: Jeff, can you remind me
6 why we put and and not or in the current regs? You're
7 saying that the long term, just a rule making initiative,
8 to replace and with or.

9 DR. WILLIAMSON: Well, John may have a more
10 informed opinion.

11 MR. HICKEY: Do you want me to go first?

12 DR. WILLIAMSON: Yes, you go first.

13 MR. HICKEY: Well, the intent was that the
14 board certification be subject to criteria that the board
15 certification would just without review be accepted, so
16 that now there would have to be a criterion by which the
17 board certification actually included a process such that
18 the people were qualified. So that's the distinction
19 between the old rule and the new rule.

20 With respect to Mr. Lieto's comment on the
21 status quo, that's not quite true. The status quo would
22 be that people who are currently on licenses as
23 authorized teletherapy or medical physicists could
24 continue under their current authorizations. The
25 proposal here is that they would be allowed additional

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 authorizations that they currently don't have.

2 For example, if they weren't currently
3 authorized for gamma knife, under this proposal they
4 would be authorized for gamma knife.

5 DR. NAG: Can you tell me what you mean by
6 this "and" and "or." I mean was not really clear.

7 DR. WILLIAMSON: Okay. Maybe I should take
8 a stab, I have to present it. The new regulation states
9 --

10 CHAIRMAN CERQUEIRA: Here again you may want
11 to make it clear to the commissioners because I'm not
12 sure that they'll really be up to date on it.

13 DR. WILLIAMSON: That's a good point. So
14 the issue is the new regulation states that an authorized
15 medical physicist is one who has board certification by
16 an approved board that meets the following requirements,
17 which is the years of experience, the degree and
18 acquaintance with certain byproduct material modalities.

19
20 It's also possible that, you know, one can
21 be an authorized medical physicist simply by complying
22 directly with these alternative pathway requirements.

23 So in the old regulation it was be certified
24 by one of the following boards, or comply with these
25 training and experience requirements. So now it's have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 board certification that includes all of the following
2 requirements.

3 CHAIRMAN CERQUEIRA: So this was just an
4 oversight on the committee's part?

5 MR. LIETO: You know, I --

6 CHAIRMAN CERQUEIRA: Ralph?

7 MR. LIETO: I was just going to say, I seem
8 to recollect that when the proposed Part 35 came out, the
9 intent was that the NRC was going to set up potentially
10 its own exam to approve authorized users, RSOs and so
11 forth. And then the final revision that came out sort of
12 said we're not going to be doing this.

13 And I'm just wondering if, in that that
14 process of getting away from doing that process, somebody
15 forgot to change an and to an or or something like that.
16 Because what was originally proposed in Part 35 in what,
17 1998?

18 CHAIRMAN CERQUEIRA: Yes.

19 MR. LIETO: Especially regarding training
20 and experience, has gone through a couple of major
21 iterations. In all the public forums that I attended,
22 the and/or were never discussed, I mean it was basically
23 that you were going to have board certification and then
24 there was going to be these alternate pathways without
25 naming the board certifications.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. WILLIAMSON: I think the assumption was
2 that the alternative pathway requirements were a fair
3 statement of the existing prerequisites to sit for the
4 boards. I don't think anybody examined it closely.

5 MR. HICKEY: Yes.

6 DR. WILLIAMSON: And my private
7 conversations with staff, even those in leadership
8 positions in this organization, is widely admitted this
9 was an error, both on the part of the staff and failure
10 of the community to notice this discrepancy between the
11 alternative pathway requirements and the board
12 eligibility requirements.

13 MR. HICKEY: Yes, that's the NRC's
14 understanding also.

15 CHAIRMAN CERQUEIRA: But is it too late to
16 correct a typo?

17 DR. WILLIAMSON: We've been there.

18 MR. HICKEY: It's too late to correct it
19 before the rule is published. I don't know if it's
20 correct to characterize this as a typo.

21 (Laughter.)

22 CHAIRMAN CERQUEIRA: I was being facetious.
23 Richard?

24 MR. HICKEY: I understand.

25 DR. VETTER: Just to add one more point to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this, I agree with everything that's been said relative
2 to the past history and how this occurred, the NRC
3 originally was going to more or less accredit the boards
4 and one thing they were considering was the exam process.

5

6 All of that we had an opportunity to comment
7 on, and I assume there were comments. I don't know what
8 they all were.

9 Then the published rule came out this way
10 where the or was changed to an and, so that the boards
11 would be held to some sort of a minimum requirement and
12 everybody would be on a level playing field. But I think
13 the crucial point here is that we never had an
14 opportunity to comment on that and. That came out in the
15 published rule.

16 DR. WILLIAMSON: Is that true, John?

17 MR. HICKEY: I didn't attend the meetings
18 and we could review it with the people who did another
19 time. But my understanding was it was made very clear in
20 the meetings and to the professional boards what the rule
21 said, what it was going to say and we didn't get any
22 comments objecting to that wording.

23 DR. WILLIAMSON: Could we find out during
24 the lunch hour?

25 MR. HICKEY: No.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN CERQUEIRA: Well, you know, again
2 the whole issue of a separate board that would test not
3 clinical competence but just knowledge of radiation
4 issues and day to day practicalities was entertained and
5 the NRC looked at it, decided it was cost prohibitive in
6 terms of setting it up, administering the exam, and the
7 decision was made not to go that route but rather to let
8 boards apply, you know, the currently existing boards, as
9 a way of letting the NRC out of the requirements for
10 setting their own board standards.

11 And I guess certainly for the diagnostic, I
12 always thought that there was still an alternative
13 pathway, if you didn't have boards you could still have
14 that 700 hour training and experience.

15 MR. HICKEY: That's correct. If it were
16 just a question of a misunderstanding of what the boards
17 required, that could be corrected but there's a
18 substantive issue. The proposal on the table is a person
19 who has no training or experience in a modality should be
20 deemed quality in that modality. That's what we have to
21 wrestle with. Somebody who has no dealing with a gamma
22 knife is going to be deemed qualified to work on a gamma
23 knife. Somebody who's never been in a medical facility
24 can be qualified to be an RSO in a medical facility.
25 That's the part that would take more time to deal with.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN CERQUEIRA: So we want it to be
2 sort of isotope or technique specific training and
3 experience?

4 MR. HICKEY: Yes.

5 CHAIRMAN CERQUEIRA: Richard?

6 DR. VETTER: John, how do you reconcile that
7 for a licensee who has not had gamma knife and now they
8 are getting a gamma knife, and no one there has any
9 experience using the gamma knife?

10 MR. HICKEY: Well, they bring people in that
11 had training from another facility, either from the
12 vendor or another facility, I mean is what I've been
13 told. But that's part of, if that's not practical that's
14 part of what we would have to consider.

15 DR. VETTER: No, that is in fact what
16 happens.

17 MR. HICKEY: Right.

18 DR. VETTER: So they do get the training?

19 MR. HICKEY: Yes.

20 DR. WILLIAMSON: They get some training.

21 MR. HICKEY: Right. They gain most of it by
22 experience so they get the training once the device is on
23 site.

24 DR. WILLIAMSON: But I think the flip side
25 of this, the concern is that if you only get people that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have that kind of training and not the broader base of
2 knowledge and experience provided by board certification,
3 what you've done really is undercut the quality of what
4 goes in the --

5 MR. HICKEY: Yes, I understand.

6 DR. WILLIAMSON: This is the problem that
7 somehow if you discourage or create a disincentive to
8 have the broader and more important credential, you are
9 not serving public health.

10 MR. HICKEY: I understand that. My own view
11 is that people will still get certified and if they
12 needed to get additional training they would do it. I
13 don't think they would say I don't want to get certified
14 because of what NRC says. But I understand that that's
15 a concern and it's reasonable to raise that with the
16 commission.

17 CHAIRMAN CERQUEIRA: Yes. Subir?

18 DR. NAG: I think that the same thing again
19 or as an oncologist, if I never had the gamma knife and
20 I'm board certified, when I get the gamma knife or when
21 our department got the gamma knife, I still don't treat
22 on the gamma knife unless I go through a separate
23 training on the gamma knife. And even in that training
24 I'm still not superb on the gamma knife until I start
25 working on it a few days.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And even in intravascular brachytherapy, when you came
2 from one intravascular system to the other, the training
3 was entirely different. So just because you've been
4 qualified for intravascular doesn't mean that you are
5 going to know everything about another system that is
6 intravascular but using different equipment.

7 DR. WILLIAMSON: Well this also gets back to
8 -- that's all correct I believe and this gets back to
9 the issue of risk informed and performance based
10 regulation that, you know, to think you through your
11 criteria have identified a reasonably competent body of
12 professionals to do the procedures, you rely on
13 essentially their level of professionalism, training and
14 experience to be able to meet the broad safety
15 performance targets that are laid out in the regulations.

16
17 CHAIRMAN CERQUEIRA: Okay. I think this is
18 a point that you can bring up and I'm sure that they'll
19 have discussions, but I think they may not understand all
20 the background in this and you may want to go into a
21 little bit of basic --

22 All right, shall we go on to Dick for the
23 last portion of it, but we'll try to finish by one
24 o'clock which will give us an hour for lunch and to make
25 it over to the meeting. Dick?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. VETTER: The point I wanted to make is
2 that it certainly was unintended, but the proposed Part
3 35 actually exacerbates the problem of a shortage of
4 available, potential available RSOs.

5 And I wanted to review the current Part 35
6 in which it details how a person might be qualified as a
7 Radiation Safety Officer, or approved as a Radiation
8 Safety Officer for a medical licensee. And in fact there
9 is an alternate pathway. One pathway is to be certified
10 by a board from a list of pre-approved boards, which are
11 actually published in the regulations.

12 The other pathway is to meet some specific
13 training requirements that are detailed in the
14 regulations and have one year of experience under the
15 supervision of a Radiation Safety Officer.

16 In the slide three, the proposed regulation,
17 a Radiation Safety Officer, or a person may be approved
18 as a Radiation Safety Officer if they are certified by a
19 specialty board or if they have training requirements.
20 But in reality there is no alternate pathway because the
21 certification process requires the board to have adopted
22 the training requirements and preceptorship. So there is
23 no alternate pathway. You must meet Parts B and C no
24 matter what, whether you're certified or not.

25 And in fact none of the boards that I'm

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 aware of specifically do have entered in their
2 qualification requirements the specific hours of training
3 that are specified in the regulations. Rather, they
4 require degrees in physics or medical physics or
5 whatever. And they require several years of experience,
6 not one year in a preceptorship but several years
7 experience.

8 So what's the problem here? Well, in fact
9 a medical licensee under the new regulation a medical
10 licensee would not be allowed to hire a certified
11 Radiation Safety Officer who had many years of experience
12 working as a consultant to hospitals, because in fact
13 that person never served a preceptorship. And, in fact,
14 the person may not even have the specific training
15 requirements that are outlined in Parts B and C, even
16 though that person had a master's degree or Ph.D degree
17 in medical physics or health physics or something.

18 Well, the unintended consequences of this
19 are actually an increased burden on the NRC staff because
20 for any Radiation Safety Officer, because none of the
21 boards meet the specific training requirements, the staff
22 will actually have to look at the specific training hours
23 that each candidate has when they fill out their
24 application.

25 As mentioned under Dr. Williamson's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 presentation, this does marginalize board certification,
2 that is for purposes of becoming a Radiation Safety
3 Officer at a medical facility you don't need to be
4 certified and it doesn't help to be certified for that
5 narrow purpose.

6 It also does undermine an effective industry
7 standard in which there are several boards whose sole
8 purpose in life is to raise the credentials and
9 competencies of those who practice as radiation safety
10 officers and those boards basically don't serve a role in
11 this process.

12 Remedies. Again, I realize in terms of the
13 regulatory infrastructure this is a problem, but short
14 term simply accept health physics certification by
15 several different boards. Here are the ones that I'm
16 aware of that offer certification in health physics. In
17 long term there simply needs to be rule making that would
18 fix this problem specifically changing the and to an or
19 under 35.50b.

20 CHAIRMAN CERQUEIRA: -- your back up slides.

21 MR. LIETO: I was going to say in your
22 remedies, Dick, would it be appropriate to state
23 accepting certifications in those boards plus a
24 documented preceptorship of experience?

25 DR. VETTER: No, my point is the boards

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 already require you to have I think the minimum, if you
2 have a Ph.D you only need four years experience, that's
3 already required in the board process.

4 MS. MCBURNEY: And the ethics?

5 DR. VETTER: Yes, they all have ethic
6 statements that you shall not practice in an area in
7 which you are not certified.

8 MR. LIETO: Not competent?

9 DR. VETTER: Not competent, yes, not
10 competent. Thank you, that's a better way to put it.

11 CHAIRMAN CERQUEIRA: Now the commissioners,
12 if I were the commissioners I would come back and say,
13 you know, you've just detailed this four year process of
14 revising Part 35, you've had all those meetings that were
15 sort of listed at the beginning, why didn't we catch this
16 sooner?

17 MS. MCBURNEY: This I think was brought up.

18
19 CHAIRMAN CERQUEIRA: But did, was it just
20 failed to be changed?

21 DR. VETTER: The and or, I don't believe, I
22 wasn't on the ACMUI at the time but I don't believe the
23 and or came to this group. For a radiation safety
24 officer.

25 CHAIRMAN CERQUEIRA: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. VETTER: I think the issue that was
2 discussed before ACMUI was the accreditation process
3 where NRC would accredit boards. And at one time they
4 were talking about an exam and I believe they came to
5 realize that this would be a burden for the NRC to go out
6 and accredit these boards and so they wanted to turn that
7 around, make the board accountable for meeting certain
8 minimum requirements.

9 And the easy way to do that was to change
10 that or to an and, because that would put everybody on a
11 level playing field. That's the minimum.

12 The point that I'm making is that a master's
13 or a Ph.D in health physics, sorry, the point I'm making
14 is to pass one of these exams, a board certification
15 exam, demonstrates that you understand material, whereas
16 going to 200 hours of training, you may not understand
17 anything when you're done with that. No, really. I mean
18 we've heard horror stories of people going to these
19 wonder courses and they get their certificate, not
20 pointing any fingers, but they get their certificate and
21 they meet the requirements. They have not demonstrated
22 any competence by going to those trainings, whereas
23 sitting in on a board, those of you who have taken even
24 part 1 of Health Physics or American Board of Health
25 Physics, you know you have to understand the material

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pretty well.

2 DR. WILLIAMSON: Now the failure rate is
3 quite high for the American Board of Radiology as well,
4 especially the oral. And I believe it's fair to say this
5 committee through the entire process was against the idea
6 of independent NRC administered exams, and for the idea
7 of recognizing board certification as evidence for being
8 qualified to practice in these categories period without
9 qualification. That has always been the case.

10 DR. VETTER: Now one thing I don't think any
11 of us wants to do is point the finger at anybody for
12 having made an error, whether it's the NRC or this
13 committee or whomever. The point is here we are, we're
14 in a pickle, and it's going to exacerbate the shortage of
15 candidates for radiation safety officers at medical
16 facilities in the coming years because there's a shortage
17 of health physicists period.

18 And I'm not suggesting that we lower our
19 standards. I'm suggesting that there are many people out
20 there who are qualified to be radiation safety officers
21 but who will not qualify under the new rule.

22 DR. WILLIAMSON: And the people who qualify
23 under the new rule, since board certification won't be
24 there as even an alternative pathway, are less qualified
25 than the diplomates of these boards.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. DIAMOND: But again that raises the
2 issue how do we remedy this? We've said in the past
3 several times good guidance does not make up for bad
4 regulations.

5 DR. WILLIAMSON: Rule making initiative to
6 make a new rule.

7 DR. VETTER: Ultimately, that's what needs
8 to be done.

9 DR. WILLIAMSON: I think we need to kick the
10 ball off and do that.

11 CHAIRMAN CERQUEIRA: Well that may be the
12 message. But it's taken five years for this or longer.
13 John, is there another solution? I mean can't we just
14 say we made a mistake?

15 MR. HICKEY: Well, regardless of that there
16 still would be rule making required, but as I say there's
17 the substantive issue of the training or experience of
18 some sort in a certain modality, whether that's going to
19 be required or whether you would accept generic. I mean
20 you can be certified by the American Board of Health
21 Physics without ever having worked with radioactive
22 material for example.

23 Is that going to be acceptable? So it's not
24 just a simple matter of fixing, you know, typographical
25 errors or something like that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN CERQUEIRA: I understand. And
2 certainly with you know some of the other boards that
3 have been looked at, I mean some of them I know have
4 changed their requirements so that people who sit for the
5 boards would be required to have a certain amount of
6 training and experience. Is that something the boards
7 could do?

8 DR. WILLIAMSON: Well, it's not practical
9 for Cobalt 60 teletherapy and stereotactic because there
10 aren't enough facilities to guarantee everybody has it.

11 MR. HICKEY: It was not our intent that the
12 board have to change their process. That definitely was
13 not the intent. And that again is a difficult process,
14 just as NRC's rule making is a difficult process.

15 MS. HOBSON: Is the current rule making
16 process so absolutely set in cement, in concrete now that
17 if you extended, say, the publication date there would
18 not be a chance to go back and revisit these two issues?
19 I mean are we too far along that we simply can't make a
20 change?

21 DR. VETTER: My impression is that it's a
22 done deal and we have to make a new rule making after
23 this is implemented. Now that could be done in, I don't
24 know, a reasonably short period of time whatever that is,
25 one or two years. But it is a done deal.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LIETO: I have a question. I mean let's
2 say recognizing this, could either through a petition
3 and/or staff development of a revised rule regarding
4 these sections, couldn't that go out for comment? And
5 potentially be reviewed and approved by the
6 implementation date of the Part 35 as a whole? After
7 publication of the Part 35?

8 MR. HICKEY: I can't rule that out. That
9 would be unusual to do something like that that quick but
10 I can't rule out that that could be done.

11 CHAIRMAN CERQUEIRA: Again, I think the
12 commission was against partial implementation as had been
13 requested by several groups, and I think this would be
14 just be another sort of scenario.

15 DR. WILLIAMSON: I don't think it's a matter
16 of being for or against it. I don't think there's a
17 mechanism that would allow it to happen.

18 MS. MCBURNEY: Not in six months.

19 DR. WILLIAMSON: If you ripped out 35 100
20 there wouldn't be a coherent rule, it would not be
21 implementable.

22 CHAIRMAN CERQUEIRA: And I guess getting
23 back to your question, I think there's enough
24 improvements and changes and what's been done already
25 that to delay that further may, certainly for some of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 stakeholders, cause more hardship and problems. And
2 maybe trying to get this thing implemented and then
3 dealing with some of these issues, some of these things
4 I think some of the other complaints can be dealt with in
5 terms of the guidance documents. But some of these are
6 more substantive and they basically would need new
7 regulations. And I think that would take a much longer
8 time.

9 DR. VETTER: Just one --

10 CHAIRMAN CERQUEIRA: Yes, Dick?

11 DR. VETTER: Just to add something that John
12 Hickey said a moment ago about demonstrating experience
13 working with certain modalities. As Jeff mentioned,
14 there's only a certain number of gamma knives for
15 instance in the country. We happen to have one where I
16 work. If we wanted to hire, under the new rules or new
17 thinking there, if we wanted to hire a radiation safety
18 officer from another broad scope medical licensee who had
19 everything except a gamma knife, would that person not be
20 qualified then?

21 MR. HICKEY: Not necessarily. We have to go
22 in more detail. The words for medical physicists are
23 different than the words for RSO are different than the
24 words for authorized user, and each one has their own
25 nuances. The most obvious problem is with the medical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 physicists and the RSO wording. But the RSO wording does
2 not say that you have to have experience in individual
3 modalities. It says you have to have experience at a
4 medical facility, whereas the therapy physicist says you
5 have to have to experience in the modalities.

6 CHAIRMAN CERQUEIRA: Okay. Well I'd like to
7 thank the committee members for working on the slides.
8 I think we've gotten some helpful input and so John?

9 MR. HICKEY: We apologize that the committee
10 was rushed in preparing for this meeting and we
11 appreciate the effort that goes into that. And I would
12 also note that the commission generally starts their
13 meetings on the dot. So I would try to get there about
14 ten or 15 minutes early, particularly if you're a
15 speaker, to make sure you're oriented and situated when
16 the meeting starts.

17 MS. WILLIAMSON: I have an administrative
18 announcement before everyone leaves.

19 MR. HICKEY: Are we done, Dr. Cerqueira?

20 CHAIRMAN CERQUEIRA: We are done, yes.

21 MS. WILLIAMSON: Very quickly, for the ACMUI
22 members, anything that you want, that you think you're
23 going to need at the commission briefing as far as your
24 briefing books and your personal items, take those with
25 you to lunch and take them with you to the briefing room.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

NEAL R. GROSS
COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701