

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Nuclear Waste
177th Meeting

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Wednesday, March 21, 2007

Work Order No.: NRC-1484

Pages 1-146

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON NUCLEAR WASTE (ACNW)

177th MEETING

+ + + + +

WEDNESDAY,

MARCH 21, 2007

+ + + + +

VOLUME II

+ + + + +

The Advisory Committee met at 8:30 a.m. in Room T-2B3 of the U.S. Nuclear Regulatory Commission, One White Flint North, 11555 Rockville Pike, Rockville, Maryland, DR. MICHAEL T. RYAN, Chairman, presiding.

MEMBERS PRESENT:

MICHAEL T. RYAN, Chairman

ALLEN G. CROFF, Vice Chairman

JAMES H. CLARKE, Member

WILLIAM J. HINZE, Member

RUTH F. WEINER, Member

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 NRC STAFF PRESENT:

2 LARRY CAMPER

3 FRANK P. GILLESPIE

4 BRITT HILL

5 ROBERT JOHNSON

6 MICHAEL LEE

7 KEITH McCONNELL

8 DUANE SCHMIDT

9 JOHN STAMATIKOS (via telephone)

10 REBECCA TEDESSE

11 DEREK WIDMAYER

12 ALSO PRESENT:

13 PAUL HARRINGTON

14 JOHN KESSLER

15 BRUCE MARSH (via telephone)

16 ROD McCULLEN

17 MEGHAN MORRISSEY

18

19

20

21

22

23

24

25

I-N-D-E-X

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

<u>AGENDA ITEM</u>	<u>PAGE</u>
7) Opening Remarks by the ACNW Chairman	4
8) Update by the U.S. Department of Energy (DOE) on the Proposed Yucca Mountain Repository Design	5
10) Briefing on Shieldalloy, New Jersey, Site Decommissioning Plan	68
11) Updated EPRI Response on Potential Igneous Event at Yucca Mountain	105

P-R-O-C-E-E-D-I-N-G-S

(8:31 a.m.)

7) OPENING REMARKS BY THE ACNW CHAIRMAN

CHAIRMAN RYAN: We will go ahead and call the meeting to order, please. This is the second day of the 177th meeting of the Advisory Committee on Nuclear Waste. During today's meeting, the Committee will consider the following: update by the U.S. Department of Energy on the proposed Yucca Mountain repository design, the ACNW action plan for fiscal years 2007 and 2008, a briefing on Shieldalloy, New Jersey site decommissioning plan; and update the EPRI response on potential igneous event at Yucca Mountain and other activities of letter writing that the Committee will undertake.

This meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act. Mike Lee is the designated federal official for today's session. There he is.

We have received written comments from the Office of the New Jersey Attorney General on behalf of the New Jersey Department of Environmental Protection. However, we did not receive any written comments ore requests for time to make oral statements from members of the public regarding today's sessions. Should

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 anyone wish to address the Committee, please make your
2 wishes known to one of the Committee staff.

3 It is requested that speakers use one of
4 the microphones, identify themselves, and speak with
5 sufficient clarity and volume so that they can be
6 readily heard. It is also requested if you have cell
7 phones and pagers, that you kindly turn them off.
8 Thank you very much.

9 Without further ado, I will turn the
10 meeting over to our cognizant member for this session,
11 Professor Hinze.

12 MEMBER HINZE: Thank you very much, Dr.
13 Ryan.

14 8) UPDATE BY THE U.S. DEPARTMENT OF ENERGY (DOE)
15 ON THE PROPOSED YUCCA MOUNTAIN REPOSITORY DESIGN

16 MEMBER HINZE: It is my pleasure to
17 welcome Paul Harrington from the Office of Civilian
18 Radioactive Waste Management, who will be discussing
19 with us an update of the repository design. As I
20 understand, you will be focusing on the surface
21 facilities. Is that correct?

22 MR. HARRINGTON: Yes, it is.

23 MEMBER HINZE: And we welcome you here.
24 It has been a couple of years since we have heard
25 about this. And we are anxious to learn about the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 progress that has been made.

2 With that, please.

3 MR. HARRINGTON: Thank you. Thank you for
4 having me here today. I apologize for not having been
5 here last December. I was not in any position to fly
6 or talk to you, but I am healed now. So we're okay.

7 I will go through the design changes. And
8 this is implementation as a predominantly
9 canister-based approach to repository operations.
10 We'll talk about predominantly the surface because
11 that is where the largest trains have been. Also,
12 then we will touch on the effects on the waste package
13 designs and the subsurface layouts that come from
14 this, talk about the site layout and the
15 waste-handling processes and facilities, then give you
16 a status of where we are with development of this
17 revised design heading toward a license application
18 early next year.

19 A series of acronyms. We have a new suite
20 of buildings.

21 (Laughter.)

22 MR. HARRINGTON: So we have a new suite of
23 acronyms. The canister receipt and closure facility,
24 as we will talk about, is the primary facility that
25 will put canisters, disposable canisters, into waste

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 packages and close and seal those waste packages for
2 disposal.

3 The initial handling facility was
4 initially conceived of as a facility that could come
5 online appreciably earlier than several of the other
6 waste-handling facilities. At this time we are
7 scheduling it, really, for start of operations
8 concurrent with a CRCF and the WHF down there at the
9 bottom, the wet handling facility, for the proportion,
10 nominally ten percent, of the waste stream that does
11 not come in in disposable TAD canisters. We will do
12 that reloading into waste packages in the wet handling
13 facility. So those are the primary changes in
14 facilities and acronyms, CRCF, IHF, WHF.

15 We are using the disposable transport,
16 transportation, aging, and disposal canisters now.
17 Our primary goal of that is to reduce the individual
18 handling of bare fuel assemblies at the repository.

19 As you know, the several iterations of
20 designs that we have had in the past all have been
21 focused on receiving an individual handling each of
22 the fuel assemblies.

23 We had several years ago intended to do
24 that primarily in pools, had about five years ago
25 shifted to a dry approach to that handling similar to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Cogema's at La Hague but most recently, October, a
2 year and a half ago made a decision to change to a TAD
3 canister approach.

4 And the effect that we will see from that
5 is a significant simplification of repository surface
6 facility operations. And that will really be the
7 theme throughout this, how can we simplify repository
8 operations?

9 I recognize that not all facilities would
10 have the capability of loading TADs for a number of
11 different reasons. So we have chosen a nominal ten
12 percent of the waste stream to not be in TADs. If in
13 practice it turns out that that percentage is
14 appreciably different, we will have the capability
15 since this is a modular set of facilities to adjust if
16 needed the facilities that we would intend on
17 constructing. But, as it appears to us now, ten
18 percent is a reasonable number.

19 That limited quantity that would not be
20 received in TADs would be taken into the wet handling
21 facility and transferred in a pool to TADS, not
22 directly into waste packages. And then those TADs
23 would be taken over to the CRCF and put into waste
24 packages, closed, and taken underground.

25 Because of that, certainly we have had to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 significantly reconfigure the whole waste-handling
2 process, the facilities, and we have also somewhat
3 changed the waste packages themselves to accommodate
4 TADs.

5 The TAD canister, as we presented it in
6 the TAD spec, is dimensionally very similar to the
7 Navy long canister. That was really the model that we
8 used in trying to size the TAD canister. We kept the
9 same inventory in the TAD canister as had been the
10 predominant waste packages, the 21-PWR, 44-BWR. That
11 is the basic TAD canister design of this approach.

12 The IHF I mentioned a moment ago. The
13 reason we looked at that initially was to begin
14 commercial operations, waste receipt, earlier than
15 would have otherwise been possible with some of the
16 larger, more complex buildings.

17 So what we looked for was, what is a
18 relatively robust waste form that we could handle in
19 a building and would not need to credit ventilation
20 systems, confinement; whereas, if we did have a drop
21 and breach of that waste form, we would without
22 needing to credit that confinement still not exceed
23 off site those criteria.

24 Those waste forms turned out to be the
25 Navy canisters and high-level waste glass logs. So

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that was the original consideration behind development
2 of the IHF.

3 We have since decided that likely we will
4 not be bringing that IHF online before the first CRCF
5 and the WHF. So on the schedules now, you will see
6 commencement of operations in 2017. That will be for
7 the whole suite of facilities, those first three,
8 which we have defined as initial operating capability.
9 That is a DOE term for what is it that you have at
10 start of operations.

11 There is a companion term: final
12 operations capability for the full suite of
13 facilities. We define the IOC to be that set of
14 facilities that we would need to have to accommodate
15 all of the waste forms. So that would include the
16 IHF, predominantly for the naval waste forms. Those
17 will come in a much larger, heavier, longer
18 transportation cask than the commercial packages.

19 So we will dedicate the IHF to naval
20 packages. "Dedicate" is not the right word. We will
21 run the naval packages to IHF and not to the other
22 buildings. That simplifies the construction of the
23 other buildings. The roof height, crane hook height
24 doesn't have to be as high as it otherwise would, but
25 we would still have the capability of bringing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 high-level waste glass logs into the IHF if we chose
2 to do so.

3 Site layout. This is the overall site
4 layout. It is similar to before in that this is the
5 north portal with the subsurface access through that
6 north portal with the actual waste-handling facilities
7 collected around the north portal.

8 That is the same approach as we have had
9 in the past. It is a different suite of facilities.
10 These are aging pads. Those are similar location to
11 the last iteration.

12 But a blowup of the north portal area
13 shows an IHF, the initial handling facility; the first
14 CRCF; the wet handling facility; and additional CRCFs.
15 That is so we can add CRCFs to provide additional
16 operational throughput. We don't have to build them
17 all initially. We can start operations with the first
18 one.

19 And then as the additional ones come
20 online, we can ramp up operational throughput. Our
21 intent is still the nominal 3,000 MTHM commercial per
22 year with DOE, SNF, and high-level waste added to
23 that.

24 Now, because we have the three CRCFs, as
25 I mentioned earlier, if that proportion of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 uncanistered, non-TAD commercial waste stream
2 appreciably varies, we can do one of several things.

3 The first would be to extend the
4 operational duration of the wet handling facility.
5 Right now it would only need to operate for about 23
6 years to accommodate that 10 percent. The simplest
7 approach for an additional waste stream up to on the
8 order of 20 percent would be to run that facility
9 longer. If it turned out that the proportion not in
10 TADs was appreciably greater than ten percent, then we
11 would, instead of building the third CRCF, build
12 another WHF.

13 So the point of this discussion is just to
14 provide flexibility. We have a nominal ten percent.
15 And if that appreciably changes, we have the ability
16 to react to that over time.

17 Yes?

18 MEMBER HINZE: Excuse me, Paul. Before
19 you leave that, could you show us where the low-level
20 waste facility is and describe that a bit?

21 MR. HARRINGTON: Low level waste facility
22 will be one of these. It will not be a processing
23 facility to turn it into solid low-level waste. It
24 will be a collection facility and we will bring in a
25 low-level waste-handling organization to take care of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that for us.

2 MEMBER HINZE: Thank you.

3 MR. HARRINGTON: Sure. The same general
4 location for the waste-handling, aging, and support
5 the IHF really talked about. We have -- let me back
6 up one -- arranged these facilities so that we can
7 accommodate a phased construction. There is
8 sufficient area between them to provide for security
9 fencing, to separate the operational side from the
10 continuing construction operation similar to the
11 second and third power plants at the nuclear utilities
12 who have more than one on a site, though as we look at
13 starting operations in some of the initial facilities,
14 we are designing in the capability to support the
15 construction of the additional facilities simultaneous
16 with that.

17 The naval NSF, the reason that we would
18 not run them through the CRCFs, as I mentioned, is
19 because of their much larger transportation cask. It
20 is on the order of 30 feet long versus the 20 feet for
21 the more commercial CSNF.

22 The receipt facility is not one of the
23 initial operating capability facilities that I
24 mentioned. Its purpose is to support the 3,000 MTHM
25 receipt rate with an expectation that a lot of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 waste forms that are going to come are going to exceed
2 the emplacement thermal criteria. The aging system is
3 where those packages will go.

4 So the receipt facility does not have a
5 capability to actually load waste packages. What it
6 does is simply receives a transportation cask, removes
7 the TAD canister, and it can handle non-disposable
8 DPCs also and puts them into aging overpacks and sends
9 those aging overpacks out to the aging pads.

10 So it doesn't have a role in disposal. It
11 does have a role in accommodating a 3,000 MTHM per
12 year receipt rate for waste forms that exceed the
13 emplacement thermal criteria.

14 The wet handling facility handles the
15 individual fuel assemblies in the pool. The EDGF is
16 an emergency diesel generator facility. This is a
17 change that came about late prior to our change to
18 TADs. Two years ago, before we were looking at the
19 potential of oxidation of fuel in a dry environment,
20 we thought that we likely would need only a four-hour
21 fan operational period in the dry transfer facility.
22 We could meet the operational goals for that system by
23 off-site power with the required reliability.

24 So though we had a series of both
25 emergency diesel generators and standby diesel

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 generators at the facility, they had not been
2 classified as important to safety.

3 That has changed. The emergency diesel
4 generators now will be classified as important to
5 safety. So they will be in their own facility to
6 provide missile protection for them. The low-level
7 waste facility we discussed just a moment ago.

8 The actual process, TAD handling certainly
9 eliminates the majority of the bare fuel assembly
10 handling for the 63,000 MTHM that equated to about
11 220,000 individual fuel assemblies. And we were going
12 to handle each of those potentially four times from a
13 transportation cask into a rack, then from a rack into
14 an aging cask, and coming back from aging into a rack
15 again and then into a waste package. So there was an
16 awful lot of handling associated with that. The
17 change to a disposable canister eliminates the large,
18 large majority of that.

19 To give you a sense of which forms go
20 where, what we are using the different facilities for,
21 naval SNF will go through the IHF only and then to
22 emplacement. It will not go to aging. Navy's
23 building a storage facility at Idaho. So we will
24 receive their packages and emplace them. There is no
25 need for or desire to do any sort of aging for the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Navy waste stream.

2 High-level waste can go to the IHF or into
3 the CRCFs to be co-disposed of with the DOE SNF. One
4 of the waste packages is still the co-disposal package
5 with the one DOE SNF canister surrounded by five
6 high-level waste canisters inside the waste package.

7 The DOE SNF will only go to the CRCFs. It
8 will not go to the IHF because of confinement issues.
9 Okay? We're not needing to credit confinement in the
10 IHF because of the waste forms that go through there
11 and their inherent robustness.

12 The DOE canisters and waste forms don't
13 have that inherent robustness. So we will run them
14 exclusively through the CRCFs that we do credit the
15 confinement for those facilities.

16 Incidentally, I talked several times about
17 the IHF and its confinement. It certainly does have
18 confinement. It does have HEPA filtration, fans, and
19 all of that. The issue is we have not needed to
20 credit that to meet those requirements. So it's not
21 considered to be important to safety, but it is there.

22 The commercial SNF in TADs, the large
23 majority of that we will expect will likely not at
24 receipt satisfy the emplacement thermal criteria. So
25 it will go to the receipt facility for transfer to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 aging pads in the aging overpacks. When it has cooled
2 sufficiently, it will come back into the CRCF, be
3 loaded into the waste packages for emplacement. For
4 those TADS that do at receipt meet thermal emplacement
5 criteria, they can go directly to the CRCFs for
6 loading into waste packages and emplacement.

7 Then, finally, the uncanistered commercial
8 SNF either that we receive truly uncanistered has bare
9 assemblies in a transportation cask or in
10 non-disposable canisters. Those will go into the wet
11 handling facility, be loaded into TADs, then, in the
12 WHF, and if that TAD exceeds the thermal emplacement
13 criteria, it goes to aging. If it does not, then it
14 goes directly to CRCF and then to emplacement.

15 Annual capacities for the facilities. The
16 IHF annual capacity is 40 MTHM. That really is driven
17 predominantly by the glass logs going through there.
18 The naval canisters have a very low MTHM per canister
19 capacity. There is only 65 MTHM of naval fuel total
20 spread over almost 400 canisters. So their MTHM per
21 year through IHF on the order of 24 canisters is
22 relatively low. So the largest part of that would be
23 high-level waste canisters. And IHF does have the
24 capability of emplacing. So you will see that there.

25 CRCF, this is predominantly the commercial

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 SNF. It also includes the DOE SNF and high-level
2 waste. And it replaces the WHF, wet handling
3 facility, since it and the receipt facility do not do
4 emplacement. Those are zeroed out. But that gives a
5 sense of the annual throughput capability of those
6 facilities also.

7 The reason the RF, or receipt facility,
8 was so high. That's a relatively simple transfer of
9 a canister from the transportation cask to an aging
10 overpack, not a lot of complication in that facility.

11 The facilities themselves, a series of
12 sketches. You will notice there are no internal
13 access points shown. This is one of the safeguards
14 and security requirements. So we can show external
15 access points. But as far as how people would move
16 around inside the building, we cannot show that. We
17 can show what does happen inside the building, though.

18 The receipt happens here. This is a rail
19 car coming in. There is an overhead crane. There is
20 a vertically oriented shielded overpack that moves in
21 and out from the receiving bay through an area that is
22 underneath a transfer canal.

23 So the overhead crane will up-end the
24 transportation cask and then open it, move the
25 canisters, Navy canisters and high-level waste

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 canisters, out of the transportation cask into the
2 transfer cart. That transfer cart will then translate
3 over underneath the unloading bay.

4 Let me just go forward one. Okay. This
5 is a side view of that. There is a canister transfer
6 machine that runs on rails above the unloading port to
7 load the waste package.

8 So, backing up one, this movement will be
9 done by air pallet. The canister will be put into a
10 shielded overpack here. What we have done through
11 this facility design is try to mirror as much as
12 possible the Navy's canister transfer handling
13 facility in Idaho. Some of you may remember the
14 previous designs where we have done a lot of handling
15 in hot cells.

16 One of the things we looked at, was how do
17 we recover from operational mishaps in there,
18 equipment failures? The Navy did not do that. Most
19 of their handling was done in shielded overpacks so
20 that if they actually had equipment failures, they
21 were able to do hands-on repair of it, rather than
22 trying to do that remotely via tooling inside of a hot
23 cell. So we have adopted that approach. Obviously
24 going to the canister-based approach simplifies that.

25 But the waste form is in a shielded

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 overpack throughout almost all of its handling in
2 these facilities now. They will all continue working
3 through here. It's transferred via that canister
4 transfer machine into the waste package supported
5 there.

6 That waste package is then translated to
7 the closure cell there. It's in a vertical
8 orientation. The now two lids are installed, welded,
9 nondestructive examined. There is still the helium
10 inerting gas inside the inner part of the waste
11 package.

12 When that closure operation is completed,
13 inspections are done. Then it is moved out and
14 lowered down to a horizontal configuration and put
15 onto a transport and emplacement vehicle. That's a
16 change from our previous approach to moving the waste
17 packages underground. We will see a graphic of that
18 in a few minutes.

19 This is the down-ending area. And in the
20 past, we had looked at doing that either by cranes,
21 lowering them using the pivot point. One of the
22 things that we have done here is take a page from
23 heavy fabrication.

24 There are some companies that make what we
25 had called tilt tables. They called them positioning

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 tables. And it's a very large table, on the order of
2 20 feet square, that's on a curved gear rack. And
3 that gear rack will drive it up or down. There is no
4 potential for a crane failure, a drop, anything like
5 that. This thing has a very controlled motion to it.
6 So we have adopted that in the down-ending tool here.

7 This transportation and emplacement
8 vehicle is a replacement for the previous shielded
9 transfer cask and emplacement gantry. Previously we
10 had had the shielded transporter take the loaded waste
11 package underground to the mouth of the emplacement
12 drift. And it had a bed plate that would extend. And
13 then an emplacement gantry would go over that bed
14 plate, grapple the waste package on its pallet and
15 move down the emplacement drift.

16 That is an extra lift. It's additional
17 complication. So what we have done now is shift to a
18 rail-based system that will accept the waste package
19 here from the down-ender and be able to actually move
20 that waste package to its emplaced location.

21 So there is no more transfer of waste
22 packages, handoffs, if you will, at the entrance to
23 the emplacement drifts. It's a further simplification
24 of operations.

25 MEMBER HINZE: There are no hot cells in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that building. Is that right?

2 MR. HARRINGTON: That's right. That's
3 right. I said that the waste form is generally
4 shielded throughout its handling in this building.
5 The one place that it's not shielded is in making this
6 transfer from the down-ender to the TEV, We leave
7 that exposed there so we can do the surface
8 examination.

9 One of the criteria for waste packages is
10 that it not have any areas that might accelerate
11 corrosion or degradation or anything. So we have to
12 do a surface visual examination of it. So that's
13 where we'll do that, just as the final step before
14 taking it underground.

15 Other than that, it's shielded throughout
16 its waste-handling process.

17 MEMBER HINZE: Is that also including a
18 cleaning of the canister that -- cleaning of the
19 surface if it needs it?

20 MR. HARRINGTON: The canisters would be
21 received clean. I mean, they will be shippable. So
22 we're not going to do anything to dirty them. We've
23 not provided a cleaning process in this facility. It
24 is simply a transfer of the canister out of the
25 transportation cask directly into the waste package.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER HINZE: So the HEPAs will be large
2 enough to prevent any dust from accumulating?

3 MR. HARRINGTON: Yes.

4 MEMBER HINZE: Okay.

5 MR. HARRINGTON: Yes. The canister
6 transfer machines are really the same here and in the
7 CRCF. They are very similar to what we had at Fort
8 St. Vrain for our ISFSI.

9 It has a shield door, a shutter on the
10 bottom of the canister transfer machine. It has got
11 a grapple in it. It will draw the canister up. It
12 will shut that shutter on the bottom of the canister
13 transfer machine. And its transfer machine then
14 translates over.

15 It will open the shutter and then lower
16 the canister in there. So the intent is just to
17 provide shielding around that waste form at all times
18 through its handling process.

19 Wet handling facility. Its primary
20 feature is the pool here. Incoming waste forms come
21 in here -- this is the transportation cask area -- to
22 unload either transportation casks that had bare fuel
23 in them -- those transportation casks would be lowered
24 into the pool via overhead crane for that operation --
25 or if it's a non-disposable canister, DPC, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 canister itself would be removed from the
2 transportation cask, lowered into the pool, and then
3 opened underwater. We are currently intending on
4 doing that canister opening underwater, developing the
5 process to do that.

6 Then the transfer of the bare fuel
7 assemblies themselves, either from the transportation
8 casks or the non-disposable canister, would be done
9 underwater into a TAD. That TAD would then be brought
10 out. The closure area for the TAD is there. It has
11 to be dried.

12 The lid is welded onto the TAD. And then
13 it would be put into a transfer overpack for either
14 transfer out to the aging system or over to the CRCF
15 for placement into a waste package if it met the
16 thermal criteria.

17 Those TADs would be taken back out there.
18 That is an in and out for that facility. These are
19 supporting HVAC, electrical, admin., those sorts of
20 things. The key operations happen in the middle of
21 the building there.

22 The CRCF is the main production facility.
23 It in concept is very similar to the IHF but has two
24 trains, incoming, waste forms through here, unloading
25 of the canisters from the transportation casks into

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the transfer trolleys, movement of those transfer
2 trolleys under the unloading cells, transfer of the
3 canisters into the waste packages, closure of the
4 waste packages, then down-ending of the waste packages
5 for acceptance into the transport and emplacement
6 vehicle. So it's a relatively much more
7 straightforward operation than the handling of the
8 individual fuel assemblies that we had had in the
9 prior approach.

10 A cross-section there is fairly similar to
11 the IHF. This is the canister transfer machines
12 running above the canister transfer cell. Because of
13 the additional waste forms that this facility handles,
14 specifically DOE, SNF, and commercial, we do need to
15 credit the HVAC, HEPA filtration, and ventilation
16 systems.

17 The receipt facility is fairly simple.
18 The incoming and outgoing waste streams are in through
19 here, got overhead cranes to do the transfer of the
20 canisters from the transportation cask to the aging
21 overpack. We provide controls on lift types, et
22 cetera, in here. And those, then, are taken via the
23 transporter out to the aging pads.

24 Now, because we are using TADs
25 predominantly, we have cut out the number of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 individual types of waste packages we had had in the
2 past. It reduces it from a total of ten down to six.
3 Also, though, one of the other lessons learned from
4 Navy was their use of shield plugs in their canisters.
5 It simplifies their canister closure operations. If
6 they need to have local access during that canister
7 closure operation, they are able to do that. So we
8 adopted the same approach.

9 The TAD canister concept, one of the
10 differences from some of the other canisters out there
11 is the inclusion of a shield plug. And the reason for
12 that is to lower the dose at the waste package closure
13 area so that if we need to do some remedial operations
14 during waste package closure, it will facilitate the
15 ability to do that.

16 Also, because the DOE SNF canisters, the
17 high-level waste canisters, the small diameter
18 canisters do not have shield plugs in them and putting
19 shield plugs in the individual small canisters
20 wouldn't really be effective because of the potential
21 for streaming, between the small canisters inside the
22 larger waste package, we have just gone ahead and
23 added a shield plug inside the co-disposal waste
24 packages to reduce that waste package closure dose.
25 It will be sitting on top of the individual small

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 diameter canisters.

2 A majority of the TADs would be loaded at
3 the utility sites. We do have the capability of
4 loading them in the wet handling facility, in the
5 pool. That significantly simplifies our operations,
6 reduces our risks.

7 The utilities need to load individual fuel
8 assemblies into a component, into the transportation
9 cask or into a canister. The loading into disposable
10 canisters we don't think significantly affects the
11 utility operations. TAD canisters include shield
12 plugs I mentioned.

13 The is the change from before. The five
14 previous waste packages on the right were as before,
15 but here we have the one standardized 21-PWR or 44-BWR
16 waste package. As we go further, we may need to
17 provide some additional TADs, but this is the standard
18 TAD that we are looking at today. We have added the
19 shield plug. It will reside above the individual
20 canisters. And these are really unchanged.

21 We haven't changed the subsurface
22 emplacement concept, but we have made some minor
23 changes, though, in the layout of it. Specifically
24 this Panel 1 used to be located a little bit further
25 up that direction. But the position that put us in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was having to back up as we came down the north ramp.
2 This is the north portal area, from which we will do
3 emplacement. We would have had to have backed up to
4 have caught the first emplacement drift in that Panel
5 1. So we took the Panel 1 and shifted it a little
6 further down this perimeter drift.

7 Overall ventilation. We still have the
8 supply and exhaust. This is an exhaust main. The
9 supply will still come in the leading side that has
10 the individual drift turnouts. On the exhaust side,
11 though, we have stepped away from having turnouts.

12 That exhaust main is not going to be
13 humanly habitable. It will be very hot. So the
14 complexity of adding turnouts there didn't make sense.
15 So we have just made them straight runs from the
16 emplacement drift into the exhaust main.

17 We will still expect to bring on the first
18 panel, then the second panel. There is still
19 contingency drift area at the bottom of that second
20 panel, then the third east and west.

21 And, fourth, no significant changes to the
22 overall subsurface concept. There will still be the
23 simultaneous emplacement operations and continuation
24 of excavation operations with the bulkheads isolating
25 those two areas. The 41 miles of emplacement drift,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that's about as it had been before.

2 Where are we now? We have done the basic
3 facility layouts and material flows. We will do
4 several iterations, two major iterations, of
5 structural analysis for these buildings. The first
6 one we are referring to is Tier 1. That is a lump
7 mass model, stick model, approach to their seismic
8 analysis. It's conservative. It's simplified from an
9 actual finite element analysis, 3D model.

10 We have completed that 3D model for CRCF.
11 We are now in the process of using that as the basis
12 for designing the various parts of that structure.

13 The other facilities are following that,
14 the IHF, RF, WHF. We are doing the systems design
15 now. We have done a prototype waste package. That
16 has recently been completed. We had a plan for
17 multiple waste package prototypes and have delayed the
18 funding for the second one from '07 into '08. That
19 was just one of the things to try and make the best
20 use of the '07 funding we got. We slowed that one
21 out.

22 Preclosure safety analysis certainly will
23 be different than for the previous facility design.
24 So that, as always, is iterative with the design. The
25 results of the PCSA are scheduled for completion in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 November.

2 Someone had earlier asked for critical
3 path. Because we really significantly changed the
4 facility design, the update to the design for the new
5 facilities combined with the preclosure safety
6 analysis of those designs, particularly for the
7 structural analyses, is really the critical path now.

8 New mechanical handling is going forward.
9 The HVAC design is going forward now that we have done
10 the facility layouts. We know the thermal loads that
11 are in there. HVAC is going forward. The electrical
12 design is going forward, looking at redundant feeds
13 from the utility grid.

14 So basically we are going forward. There
15 is a lot to do. We had been somewhat behind on
16 schedule. We had to hire on the order of 200 people
17 between design and PCSA to accomplish the work. BSC
18 has met those hiring goals and are nearly back on
19 track for production of products.

20 So, with that, I think I have a summary
21 slide that really reiterates what I have said. I
22 would be happy to go ahead and take questions, talk
23 about things that are of interest.

24 MEMBER HINZE: Thank you very much, Paul,
25 very illuminating.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I will ask Dr. Ryan to begin. I know you
2 have another appointment.

3 CHAIRMAN RYAN: Thank you very much.

4 Paul, I second Bill's comment. This is a
5 real interesting update to the design and seems like
6 a real significant number of simplifications and steps
7 in handling of fuel and all the rest.

8 So I think it would be helpful -- and,
9 again, I realize you are kind of at an earlier stage
10 and you are looking at sketches, rather than some of
11 the details that we have heard on the previous design.

12 Looking ahead a bit, I think it would be
13 useful for the Committee if somewhere down the line in
14 this calendar year we could get an update from you on
15 some of the details. And the details would be related
16 to a little bit more of the handling.

17 You know, we get involved, for example, in
18 some of the waste placement in the drift issues. And,
19 you know, there is a transfer process that is going to
20 occur, and we had questions about that.

21 I am not anticipating that we would have
22 questions similar to that on a much simpler system,
23 but it would be helpful if we could get that same kind
24 of detailed briefing when it's appropriate for you to
25 do that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HARRINGTON: Sure.

2 CHAIRMAN RYAN: That kind of leads us into
3 thinking about what are the issues significant to
4 safety or risk. I think about some of the work or
5 time and motion studies that obviously are going to
6 need to be updated based on your handling schemes,
7 those kinds of things.

8 So that it will help me understand, where
9 are you in the design process? Are you at detailed
10 conceptual design? Are you at preliminary stages of
11 detailed design or where are we?

12 MR. HARRINGTON: In DOE parlance, we have
13 conceptual design, then preliminary design, then final
14 design. We have completed conceptual design. And
15 that was the critical decision 1 --

16 CHAIRMAN RYAN: Right.

17 MR. HARRINGTON: -- that we did last
18 June-July. That was approval to then go into
19 preliminary design. And that's where we are now.

20 The DOE critical decision 2 will be
21 approval to go from preliminary design to final
22 design. And we don't expect to do that until likely
23 shortly after license application submittal.

24 Part of that CD-2, that formal process, is
25 a fairly detailed cost analysis. So our focus for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 license application has been primarily on waste forms,
2 the important to safety and important to waste
3 isolation attributes of the design.

4 We have not done very much with
5 non-waste-handling affected parts of the repository as
6 far as -- well, low-level waste facility. That would
7 be one. But admin. and the other support facilities,
8 the guard shacks, all of the access things, --

9 CHAIRMAN RYAN: Yes.

10 MR. HARRINGTON: -- we haven't done any
11 real design on that yet. I expect that we will need
12 to do substantially more of that to meet the DOE's
13 intentions for the level of fidelity in that cost
14 analysis.

15 So I think the formal movement from
16 preliminary to final design will follow license
17 application.

18 CHAIRMAN RYAN: Does it make sense to you
19 to think about something later in the calendar year --

20 MR. HARRINGTON: Oh, sure.

21 CHAIRMAN RYAN: -- to come back and give
22 us an update on some of the detailed features?

23 MR. HARRINGTON: Sure.

24 CHAIRMAN RYAN: Again, it sounds exciting
25 because you have reduced the handling. You know, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 did a little sort of mental calculation on the amount
2 of rigging that you would have to have on hand for the
3 previous arrangements. And those were you would have
4 to have a special rigging facility to keep track of it
5 all.

6 But it sounds like it is a much simpler
7 scheme and the wet and the dry issue seem to be clear
8 and resolved in terms of what would need to be handled
9 wet and how you are going to do that. So that seems
10 to be the real advance to me.

11 And I think just maybe an update with the
12 next level of detail would really help the Committee
13 --

14 MR. HARRINGTON: That would be fine.

15 CHAIRMAN RYAN: -- understand that and
16 maybe offer the Commission any guidance that may fall
17 out of it.

18 MR. HARRINGTON: Okay. Yes. Some of
19 those things I can talk to right now, you know, the
20 basic TEV concept, if you would like.

21 CHAIRMAN RYAN: Sure.

22 MR. HARRINGTON: Previously we had had
23 basically a rail-based concept for movement down,
24 including a locomotive and the shielded transporter.
25 So there were the concerns about runaways. What is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the probability?

2 We had gotten to extremely high
3 reliability needed for the braking system on that to
4 make that be on Cat-2, beyond Category 2, then
5 sequence to the point where we didn't believe we could
6 likely demonstrate that sort of reliability.

7 The TEV is a step away from that sort of
8 rail-based locomotive and car concept to a crane
9 concept, where the individual wheels are each driven
10 by motors.

11 So if you lose power to it, it's not a
12 matter of losing a braking system. The thing stops.
13 It can't move other than as it's driven. Yes, it will
14 have a braking system also, but it's fundamentally
15 more resistant to the potential for runaways down the
16 ramp. That ramps on the order of a three percent
17 slope, I think.

18 MEMBER HINZE: If one motor fails, all are
19 turned off presumably?

20 MR. HARRINGTON: I don't know. If one
21 motor fails, it's not going to be able to be driven.

22 MEMBER HINZE: I've had some experience
23 with vehicles, with individual motors. And you can
24 have a lot of problems if one fails and the others
25 keep going.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HARRINGTON: We will certainly design
2 it so it is not going to hurt itself. That would be
3 an appropriate thing to do. I don't know if we have
4 gotten to that in the design yet.

5 But basically the fundamental shift there
6 was twofold: To move away from an approach where you
7 would have to create a braking system to something
8 that just doesn't move unless you are able to
9 successfully operate it and also simplification of
10 that handoff process there at the mouth of it, mouth
11 of the emplacement drift.

12 CHAIRMAN RYAN: One other area -- and,
13 again, I am looking ahead to maybe an update as your
14 detailed work gets underway or at least you're
15 finishing the conceptual designs is the accident
16 analysis piece of it or the credible operational
17 accidents you have analyzed and what are the dose
18 consequences and release consequences of potentials
19 you have come up with for this substantially different
20 design. That I think would be of interest to the
21 Committee.

22 MR. HARRINGTON: That's one of the
23 carryovers from the previous, is the probability of
24 drop and consequence of drops of large canisters.
25 That part translates over all of the bare field

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 assembly handling that have been done in dry.
2 Obviously that's just simply gone.

3 But we do still have the potential for
4 drops of the individual fuel assemblies in the pool on
5 the order of 22,000 assemblies. So the drop rate of
6 that is now in a Cat-2 event sequence, I believe,
7 rather than a Cat-1 that the earlier had been, simply
8 due to the reduction in numbers.

9 CHAIRMAN RYAN: Right.

10 MR. HARRINGTON: The increase in the
11 number of canister handlings because we have more
12 canisters to deal with still has not moved the
13 potential for canister drop, though, into Cat-1. I
14 believe that is still Cat-2.

15 CHAIRMAN RYAN: I guess just understanding
16 that whole profile of risk analysis would be helpful
17 down the road.

18 MR. HARRINGTON: I would be happy to do
19 that.

20 CHAIRMAN RYAN: Thank you. Thank you,
21 Bill.

22 MEMBER HINZE: Dr. Weiner?

23 MEMBER WEINER: I have a couple of
24 questions that might seem disjointed. What about
25 material that is already canistered and sitting in dry

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cask storage at the utilities? How is the TAD going
2 to interface with that? Are you going to require the
3 utilities to recanister? What is going to happen
4 there?

5 MR. HARRINGTON: That's why, part of why,
6 we have the wet pool capability. If those canisters
7 are not repackaged prior to shipment to the
8 repository, we have the capability in the pool to
9 repackage them ourselves.

10 DR. WEINER: Your ten percent, is that
11 based on some assessment of what will already have
12 been canistered and need to be recanistered or what is
13 that ten percent based on?

14 MR. HARRINGTON: Everything that could be
15 canistered would result in a number greater than ten
16 percent. We chose that as a nominal number for
17 operational purposes. And that's why I talked earlier
18 about flexibility.

19 If in practice it turns out to be that
20 there would be a much larger percentage, we would just
21 not build the third CRCF. We would go ahead and build
22 more capability for handling those if that's the way
23 it turned out.

24 MEMBER WEINER: Are you having any
25 interaction with the utilities now to go to at least

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 something that is the same size and volume as the TAD
2 so that anything -- at what point are you going to
3 start requiring --

4 MR. HARRINGTON: We have been interacting
5 with utilities on that, also with the fabricator
6 industries. I saw Rod McCullen raise his hand. I
7 would be happy to let him make a comment here, too, if
8 he would care to give the industry perspective.

9 MR. McCULLEN: Yes. Rod McMullen, Nuclear
10 Energy Institute.

11 We have been working with the DOE on these
12 questions, a lot of which, to answer Ruth's question
13 directly, given the schedule for the TADs and the rate
14 at which we are loading casks, is probably likely that
15 we will have somewhere a little more than 20 percent
16 of the fuel in casks other than TADs at some point.
17 And I would also tell you that right now it is the
18 position of almost every utility fuel manager that
19 they don't intend to repackage on their site.

20 Now, the reason why I think the question
21 is difficult to answer is that issue is the subject of
22 some negotiation between DOE and the utilities. And
23 I would not want to presuppose how that negotiation
24 would come out. It also may be the case to be the
25 subject of litigation. Some of these existing systems

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 may have questions as to whether or not they will be
2 transportable. So they might have to be reloaded
3 anyway.

4 So we think from our standpoint that what
5 DOE is doing is not an unreasonable approach. They're
6 nominally shooting for ten percent. There are a lot
7 of questions that can't be answered without future
8 developments we can't speak to today in terms of
9 whether it will be 20 percent or 10 percent or some
10 number in between, but they certainly have the
11 flexibility to change out a CRCF with a wet handling
12 facility.

13 So the going-in position is that appears
14 to be the right amount of flexibility. And we
15 continue to work with them. We have had a lot of
16 interactions on the TAD. A lot of these things will
17 require individual negotiations with individual
18 utilities that nobody in this room can speak to.

19 So without presupposing how those will
20 come out, this is probably the best approach you could
21 have at this time.

22 MEMBER WEINER: Thank you.

23 My other question deals with how much you
24 are considering. The FEIS for Yucca Mountain
25 considered the preferred option, which was a 70,000

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MTHM facility, but also considered additional
2 inventory.

3 How is your surface facility? Is your
4 surface facility designed to accommodate that
5 additional inventory, modules 1 and 2, or is it
6 specific to the 70,000 metric tons of facility?

7 MR. HARRINGTON: It is certainly not
8 limited to the 70,000-ton. It's sized so that we
9 could accomplish receipt and emplacement of 70,000
10 tons in 50 years.

11 If that number were to change, then either
12 you could run that same set of facilities for a longer
13 duration to accommodate a greater inventory or you
14 could build additional modules if, for some reason,
15 there were a need to do it in the same duration or
16 shorter. But that is one of the benefits of having
17 the modular approach.

18 MEMBER WEINER: So you could simply add
19 modules, change the function of some modules just to
20 accommodate the additional --

21 MR. HARRINGTON: Or run them for longer
22 durations. Either one would work.

23 MEMBER WEINER: Finally, what about the
24 DOE material that's stored at places like INL that is
25 already canistered? Is that going to give you a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 problem with interfacing with the TADs or can you
2 accommodate that?

3 MR. HARRINGTON: No. I might back up a
4 few slides. Here.

5 MEMBER WEINER: Oh, okay. So you --

6 MR. HARRINGTON: These are those.

7 MEMBER WEINER: So you have already taken
8 those into account?

9 MR. HARRINGTON: Right. High-level waste
10 has been generated at West Valley. Savannah has done
11 some. INEL and Hanford are both looking to create
12 high-level waste glass logs. So canisters exist for
13 those.

14 DOE has been designing up at Idaho the
15 standardized DOE SNF canister. Some are 18. Some are
16 24-inch diameter by 10 and 15 feet long. We
17 accommodate that.

18 Hanford loaded primarily the end reactor
19 fuel into the multi-canister overpacks the MCOs. We
20 have designed for that. That is this one here. That
21 is the end reactor fuel. So our designs accommodate
22 those canisters.

23 MEMBER WEINER: I see. Thank you.

24 MR. HARRINGTON: Okay.

25 MEMBER HINZE: Dr. Clarke?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER CLARKE: Thanks, Ruth. Thanks for
2 that line of questioning. I would have asked it if
3 you hadn't. But it sounds like from your response,
4 really, and the response from the Energy Institute,
5 that this ten percent is a likely range of fuel that
6 would be commercial.

7 MR. HARRINGTON: We think so, yes.

8 MEMBER CLARKE: It would come in. It have
9 to go to the wet handling facility or something, I
10 guess, to be repackaged. I that --

11 MR. HARRINGTON: Yes.

12 MEMBER CLARKE: Is that fair?

13 MR. HARRINGTON: Yes.

14 MEMBER CLARKE: It's a fair understanding?
15 An observation, I guess, is that this has to a systems
16 engineer's dream project. Making all of these pieces
17 fit together not only for the surface facilities but
18 I was going to ask you about the repository itself.

19 And you said that the way you are
20 approaching it you believe has sufficient flexibility
21 to hand what actually could happen, as opposed to your
22 operational goal of 90 and 10. You believe you have
23 accommodated that in your approach?

24 The repository is going to be constructed
25 in a phased manner as well.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HARRINGTON: You are referring to the
2 subsurface parts? Yes, that's right.

3 MEMBER CLARKE: And that, of course, will
4 have to have -- whatever happens at the surface
5 ideally. And that linkage is there?

6 MR. HARRINGTON: Yes. One --

7 MEMBER CLARKE: I guess what I was going
8 to ask, though, is are you running different scenarios
9 to see how they play out on the surface, how they play
10 out in the repository construction as well?

11 MR. HARRINGTON: Yes. We have something
12 called the total system model. Are you familiar with
13 that? Have you heard of that?

14 MEMBER CLARKE: I've heard the term. We
15 haven't been briefed on that.

16 MR. HARRINGTON: Okay. Chris Koots runs
17 that with the systems engineering folks here in D.C.
18 And they model waste receipt throughputs through the
19 facilities and emplacement. So I understand that you
20 are soon going to be getting a briefing from him on
21 TADs specifically. It might be of interest to you
22 also to have him talk about the total system model.

23 MEMBER WEINER: That's a very good --

24 MR. HARRINGTON: That would be probably
25 really helpful.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 But yes, we are using that.

2 MEMBER CLARKE: And that model does
3 include the repository construction as well as the
4 surface facilities?

5 MR. HARRINGTON: I am not sure if they
6 look at the construction parts of the subsurface, but
7 they certainly --

8 MEMBER CLARKE: They don't go with --

9 MR. HARRINGTON: -- do the emplacement
10 parts of it.

11 MEMBER CLARKE: Yes, assuming it is there
12 to --

13 MR. HARRINGTON: Yes. We just need to
14 build it rapidly enough to support the emplacement
15 that that model says.

16 MEMBER CLARKE: Okay. And the other
17 question, you had a slide. I think it was 12. Right.
18 That was facility annual capacities do reflect the
19 magma 90/10 operational goal. Is that?

20 MR. HARRINGTON: Yes. Yes. That's what
21 drives that WHF capacity on this, is an expectation of
22 that ten percent through there.

23 MEMBER CLARKE: Okay. And another
24 question that may not be a fair question for you, but
25 you mentioned canister shield at Idaho. They also had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 calcine material in bins. Does that factor into this
2 or is that a --

3 MR. HARRINGTON: It does. There is some
4 interest in sending calcine directly to the repository
5 without vitrifying it. And that is not a waste form
6 that we have modeled. It may present some challenges
7 or it may not. Right now I think we think it probably
8 would, but we have not made the decision to do that.

9 MEMBER CLARKE: Okay.

10 MR. HARRINGTON: So if it comes about that
11 that is a waste form we would have to deal with, then
12 we would simply have to roll it into the pre and
13 post-closure analyses and see how it affected
14 performance.

15 MEMBER CLARKE: It was a very helpful
16 presentation. Thank you.

17 MR. HARRINGTON: Thank you.

18 MEMBER HINZE: Allen Croff?

19 VICE CHAIRMAN CROFF: Thank you.

20 Can you give me an idea of the overall
21 dimensions of a CRCF?

22 MR. HARRINGTON: That was on the order of
23 350 by 350 feet. It is actually quite a bit smaller
24 than the old dry transfer facility had been, which was
25 on the order of 500 feet square.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN CROFF: How tall?

2 MR. HARRINGTON: Oh, height? Sixty to 70,
3 something like that. It's a big building.

4 VICE CHAIRMAN CROFF: Yes, it is. Second,
5 you said that a lot of the commercial spent fuel you
6 would initially receive would be too hot to be in
7 place. So you put it out on the aging pads for some
8 amount of time.

9 Does this mean that in the initial
10 operations of the repository, that mostly high-level
11 waste and naval reactor spent fuel and DOE spent fuels
12 would be emplaced in preference to commercial spent
13 fuel?

14 MR. HARRINGTON: That would depend upon
15 what it is the utilities send to us. They have some
16 flexibility on what they choose to send. We have the
17 ability to accommodate it, whether or not it would be
18 cold enough to emplace or if not, then go ahead and
19 put it on the aging.

20 VICE CHAIRMAN CROFF: Okay. So you
21 haven't formulated an expectation?

22 MR. HARRINGTON: Well, the total system
23 model that I mentioned a moment ago, they have done a
24 number of different runs in there looking at different
25 receipt scenarios.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And I guess I would ask Chris to talk to
2 that in more detail, but what I have seen of that
3 shows that we have the flexibility to accommodate a
4 range.

5 VICE CHAIRMAN CROFF: Okay.

6 MR. HARRINGTON: I don't know that we have
7 actually defined a single expected range.

8 VICE CHAIRMAN CROFF: Okay.

9 MR. HARRINGTON: For analysis purposes, we
10 look at youngest fuel first, five-year-old, because
11 that's kind of the bounding in terms of max thermal
12 output. But as far as what we will actually get, it
13 will be something different than that.

14 VICE CHAIRMAN CROFF: And the rules are
15 still that it's utilities' choice what they send, not
16 your choice?

17 MR. HARRINGTON: As long as it satisfies
18 the standard fuel definition in 9.61, I believe they
19 have the ability to pick and choose what of their fuel
20 they will send.

21 VICE CHAIRMAN CROFF: Okay. Thanks.

22 MEMBER HINZE: A few questions, Paul, if
23 I may. Has the repository footprint changed in any
24 way?

25 MR. HARRINGTON: The subsurface?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER HINZE: Yes.

2 MR. HARRINGTON: Not in the last year or
3 two. I'm trying to think how long ago it is you have
4 heard. Let me go to --

5 MEMBER HINZE: It's been a couple of
6 years, six I think. Oh, that's not six.

7 MR. HARRINGTON: Depending upon how far
8 back you've heard, we at one point had looked at going
9 further south than the south portal. I think we refer
10 to that as the beaver tail. That's no longer in
11 consideration.

12 This has been extended more to the north
13 than it had been several years ago. Several years ago
14 it didn't go as far north of the existing north ramp
15 curve.

16 MEMBER HINZE: Right.

17 MR. HARRINGTON: So this has been
18 basically out for quite a while, but I think we have
19 truncated a little bit on the south and extended a
20 little bit to the north from where we were maybe three
21 years ago.

22 MEMBER HINZE: Did you happen to have in
23 your memory bank the square kilometerage, how many
24 square kilometers?

25 MR. HARRINGTON: No.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER HINZE: That would be useful
2 information to us as we look at some of the disturbing
3 events. What about the setback distances? And what
4 about the flexibility in construction for setback
5 distances from faults? Are there any provisions for
6 this?

7 MR. HARRINGTON: Oh, certainly we have the
8 provision for doing so. We are going with a full
9 drift liner now with the perforated stainless steel
10 Bernauld sheet held in by rock bolts, -- I am not sure
11 if you had heard that before or not -- rather than the
12 previous rock bolts and wire mesh and all of that.

13 One of the reasons for doing that was to
14 provide a more robust ground support for the
15 preclosure so that we would not need to do setbacks
16 from faults and be as concerned over potential
17 fractures, but that may still be an issue for
18 post-closure.

19 So I am not sure, frankly. We have the
20 capability certainly of doing setbacks as we deem
21 necessary from disturbed areas.

22 MEMBER HINZE: As the excavation proceeds?

23 MR. HARRINGTON: During emplacements.
24 Yes. During emplacement, we will run the TBM through
25 there.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER HINZE: The setback from the
2 Gostand fault -- and there are some faults up there
3 north of the north ramp -- the setback distances --

4 MR. HARRINGTON: Oh, I'm sorry. I thought
5 you were talking about setback from fractures,
6 significant fractures, in the middle of the
7 emplacement drift.

8 MEMBER HINZE: I am, both in the margins
9 and within.

10 MR. HARRINGTON: The overall emplacement
11 area has been selected to provide the setback from the
12 major faults. And those are basically what are
13 bounding it on the east and west. On the north, it's
14 water table. And on the other end, I think it was
15 overburden. The sides are dictated by the major
16 faults.

17 In addition to that, we had also talked
18 about the potential of not putting waste packages
19 adjacent to a fracture. Certainly we have the
20 capability of observing those and deciding where we
21 are going to put and where not to put waste packages.

22 MEMBER HINZE: Going back to one of the
23 questions that Dr. Clarke asked, you will, as I
24 understand it, be doing some excavation after the
25 surface facilities are constructed. Is that correct?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HARRINGTON: Yes, yes.

2 MEMBER HINZE: And will you be moving the
3 excavated material out of the north ramp or only out
4 of the south ramp? You understand where I am going.

5 MR. HARRINGTON: Yes. This, the north
6 ramp, is the emplacement area. Excavated fill will
7 come out of the south ramp and also the additional new
8 north construction ramp.

9 MEMBER HINZE: Okay. So there will be a
10 north construction ramp.

11 MR. HARRINGTON: Yes, yes.

12 MEMBER HINZE: Okay. Very good. Let me
13 ask you about what is the status of the plans for
14 closing the repository? Are there any changes there?
15 Is this going to be in the license application? What
16 about the stemming of the ramps, et cetera?

17 MR. HARRINGTON: We have to as part of the
18 license application address plans for closure. So we
19 will have discussion in there on how to do sealing of
20 the access mains, ventilation shafts, bore holes,
21 anything that might penetrate the area.

22 MEMBER HINZE: That is something that I
23 think the Committee would be interested in hearing
24 about it if that is possible in the next near term.

25 Let me ask you about figure 6. Why are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there two aging pads?

2 MR. HARRINGTON: Just simply capacity
3 versus topography.

4 MEMBER HINZE: Will there be excavation
5 necessary. If I have my geography correct, the aging
6 ramps appear to be in the sloping side of Yucca
7 Mountain. Will they be excavated then?

8 MR. HARRINGTON: There will be some cut
9 and fill to create those, yes.

10 MEMBER HINZE: And the particular sites
11 that you have for the aging pads, the last time I
12 heard there were investigations underway pertaining to
13 the possible ground motion associated with those
14 sites. Has that been completed? And what have the
15 results been?

16 MR. HARRINGTON: We have ground motions
17 that we are using for our design bases now. And, in
18 addition to that, we are doing more geotech
19 investigation work. We have just received last week,
20 I believe, several drill rigs. I don't remember if
21 it's three or four. And we have about 50 additional
22 bore holes that we intend on doing.

23 MEMBER HINZE: Ah. Okay. Will those be
24 vertical holes or will there be any slanted holes?

25 MR. HARRINGTON: I don't know. I don't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 know.

2 MEMBER HINZE: Okay. Peace. Let me ask
3 you about OSTI. We had a presentation, a very
4 interesting presentation, nine months ago from OSTI in
5 which they talked about some developments or some
6 research pertaining to TADs. Has any of that
7 interfaced with your designs?

8 MR. HARRINGTON: You said Aussie?

9 MEMBER HINZE: OSTI.

10 MEMBER WEINER: The Office of Science.

11 MEMBER HINZE: The Office of Science and
12 Technology International.

13 MR. HARRINGTON: Okay. Obviously not, not
14 that I know of.

15 MEMBER HINZE: Okay. They had a very
16 interesting presentation about something using
17 something other than alloy-22 and looking at the TADs.
18 And this is very interesting.

19 MR. HARRINGTON: A couple of things. One,
20 the TADs themselves would not be alloy-22. Just the
21 waste packages are the 316 nuclear grade internal
22 structural member surrounded by the LA-22 long-term
23 corrosion barrier, but the TADs themselves were not
24 alloy-22.

25 MEMBER HINZE: Right, right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HARRINGTON: We have within our own,
2 within RW, the science and technology organization
3 group, looking at different materials. That will not
4 be developed to the extent sufficient to support the
5 license application. So we are going forward in the
6 LA with the materials that we have been analyzing.
7 That is not to say that we are shutting off all future
8 evaluation of potential alternate materials.

9 MEMBER HINZE: A question about natural
10 disturbances. What is the status of the plans that
11 are being made for natural disturbances in the
12 preclosure period?

13 And I am talking about seismic activity.
14 I am talking about volcanic activity. What
15 considerations are being made in the design for the
16 possibility of seismic activity and volcanic activity?

17 MR. HARRINGTON: Well, we are certainly
18 designing the preclosure facilities for seismic ground
19 motions. We had developed an approach for
20 determination of what those seismic ground motions
21 were. Through additional interactions with NRC staff,
22 we have revised that approach.

23 The values that we are using as the basis
24 for seismic design of the facility is on the order of
25 about 7/10g, vertical and horizontal, for what we're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 referring to as design basis ground motion to ground
2 motions.

3 We are evaluating the performance of the
4 structures for higher ground motions than that on the
5 order of about 1.2g vertical and horizontal. So yes,
6 we are designing for seismic ground motions.

7 MEMBER HINZE: And the methodology that
8 the NRC has proposed in their ISG-1, that is an
9 acceptable methodology to the Department of Energy or
10 one you are using?

11 MR. HARRINGTON: I don't know that we have
12 provided our comments back on that. We haven't that
13 I -- Buck is saying, "Yes, we have."

14 MEMBER HINZE: Yes.

15 MR. HARRINGTON: The seismic folks on the
16 scientific side of the organization are doing those
17 interactions. Basically I'm just using the output
18 that they give me for facility design.

19 MEMBER HINZE: You're our window to DOE.

20 MR. HARRINGTON: Okay.

21 MEMBER HINZE: So that is why I am asking
22 you these questions.

23 MR. HARRINGTON: Okay.

24 MEMBER HINZE: Let's go to the volcanic.
25 There has been -- I don't know the proper term. It is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a concern but questions raised about the possibility
2 of preclosure of volcanic activity that might lead to
3 lava flows or ash weighting down the roofs and also
4 ash getting into the HEPAs. How is this entering into
5 the design considerations?

6 MR. HARRINGTON: Ash fall on the roofs is
7 one of the event scenarios that the PCSA folks are
8 looking at. So that is addressed in the preclosure
9 safety analysis. And it's one of the dead loads, live
10 loads/dead loads, that the facility has to be designed
11 for.

12 We are not looking at magma intrusion into
13 the repository during preclosure period as a category
14 1 or 2 event sequence. I think we believe that's a
15 beyond Cat-2 event sequence.

16 MEMBER HINZE: How about HEPA? How about
17 the filters, the ventilation system?

18 MR. HARRINGTON: The ventilation system is
19 having to be designed to accommodate that, I believe.

20 MEMBER HINZE: That's part of the PCSA.

21 MR. HARRINGTON: PCSA, preclosure safety
22 analysis, yes.

23 MEMBER HINZE: Right. Okay. I think that
24 is all of my questions. Are there any further
25 questions by the Committee? Allen?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN CROFF: Paul, you raised a
2 thought in answering another question. And that is,
3 as I understand it, Sandia was named RW's lead lab or
4 something like that --

5 MR. HARRINGTON: "Lead lab" is the term.

6 VICE CHAIRMAN CROFF: -- a while ago. Is
7 it reasonable at this point to ask them to come in and
8 tell them sort of what is going on in technology space
9 related to the repository?

10 MR. HARRINGTON: Oh, I'm sure they would
11 be interested in doing that.

12 VICE CHAIRMAN CROFF: I suspect that is
13 something we would be interested in.

14 MEMBER HINZE: Absolutely.

15 MR. HARRINGTON: Okay.

16 MEMBER HINZE: Dr. Weiner?

17 MEMBER WEINER: What are the dimensions of
18 the TAD and the thickness of the --

19 MR. HARRINGTON: We basically pick the TAD
20 to be nominally the same size as the naval long waste
21 package. And that is about two meters in diameter and
22 about six and a half meters long, in that range, as
23 best I can recall offhand.

24 MEMBER WEINER: And how thick a shell is
25 it? How thick a shell is it going to be? In other

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 words, what is the difference between internal and
2 external?

3 MR. HARRINGTON: That is a dimension that
4 the TAD vendors will come up with. We are not
5 designing it for them. We gave them a performance
6 spec, said, "Here is it what it has to do, drop
7 heights, those sorts of things." They will go ahead
8 and size it as they need to meet that performance
9 spec.

10 MEMBER WEINER: Thanks.

11 MEMBER CLARKE: Please?

12 MEMBER HINZE: Jim?

13 MEMBER CLARKE: Thank you, Bill.

14 Just a quick follow-up. And I am sure I
15 know the answer to this, but I just thought I would
16 ask. That range of 10 to 20 percent of material that
17 might not come in on TADs, commercial spent nuclear
18 fuel, includes not only what is in dry cask storage
19 now but what is projected to be in dry cask storage by
20 2017. Is that fair?

21 MR. HARRINGTON: I believe that's
22 accurate. That is part of our interest in getting the
23 TAD spec out there so that it can be used by industry.

24 MEMBER CLARKE: But you have got
25 projections of what will happen, what additional fuel

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 will have to come to dry cask storage in the interim
2 between now and whenever it does store, but it would
3 go --

4 MR. HARRINGTON: Okay. Other than Rod's
5 20 percent number, I don't know of a different --

6 MEMBER CLARKE: That won't be available
7 for some time. Is that correct?

8 MR. HARRINGTON: That's right, probably
9 several years.

10 MEMBER CLARKE: So, in addition to what is
11 in dry cask storage, now is reasonable to assume there
12 would be additional dry cask storage by the time the
13 repository referenced.

14 MR. HARRINGTON: That's right.

15 MEMBER CLARKE: That fuel might be in DPCs
16 or something else.

17 MR. HARRINGTON: That's right.

18 MEMBER CLARKE: So I am just wondering how
19 good that range is. But it wouldn't be 50 percent.
20 I mean, you know, the 10 to 20 --

21 MR. HARRINGTON: Yes. I think Rod --

22 MEMBER HINZE: I think Rod's --

23 MR. McCULLEN: Yes. The expected loading
24 of dry cask storage is a very known parameter in
25 industry. You know, licensing activities go on well

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in advance, plans for that, when pools are going to
2 need the additional capacity. So that 20 percent
3 roughly is based on an industry expectation of those
4 known parameters and kind of a rough idea of when we
5 think the TAD might be available.

6 MEMBER HINZE: Thank you. Mike?

7 MR. LEE: Yes. First of all, thank you
8 very much for coming a long way and briefing the
9 Committee in I think a very useful briefing. The
10 first question I have is, this morning you have
11 described operations and designs.

12 And it sounds like for the most part, that
13 you are using off-the-shelf technologies. Are there
14 any technologies that DOE thinks it has to develop or
15 acquire in order to satisfy any design visions or
16 like, for example, this transportation device that is
17 going to move the TAD from the surface facility
18 underground. Is that something that you think is
19 off-the-shelf or is that something that is going to be
20 kind of procured, developed and procured?

21 MR. HARRINGTON: Probably the most unique
22 actual application will be the waste package closure
23 system. And we have actually had Idaho working on
24 that for us for several years. So that one is in
25 process.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Most of the major pieces of equipment we
2 think we can likely buy either the component itself or
3 the fabrication of the component is not extraordinary.
4 The TEV, transportation and emplacement vehicle,
5 nobody has anything quite like that out there now.

6 But the mechanisms that will be in there
7 are current technology. One is crane technology.
8 It's motor controls, those sorts of things. The
9 fabrication of the component will look different than
10 what has been there before.

11 The canister transfer machine, those exist
12 now. I don't know if they are out there for the size
13 we'll look at, but certainly there are canister
14 transfer machines that will do essentially the same
15 thing we need to have done.

16 Here, the fuel handling machine in the
17 pool. I would expect just simply go buy one. There
18 is no real developmental effort there.

19 MR. LEE: Yes.

20 MR. HARRINGTON: The cranes we will go buy
21 what are considered elsewhere to be single
22 failure-proof cranes. We won't get to credit them as
23 that. We will have to do failure probability
24 evaluations.

25 But the waste package closure is probably

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the most technologically developmental product that we
2 will have to come up with.

3 MR. LEE: My second question is one or two
4 briefings back, there was someone from DOE who talked
5 about the possibility of using the Atlas facility in
6 north Las Vegas for some development proof of concept
7 types of activities related to waste handling and
8 waste operations. Are there any plans like that still
9 underway?

10 MR. HARRINGTON: No.

11 MR. LEE: Okay. And the last question I
12 have is, does the staff owe you anything in terms of
13 guidance or whatever on preclosure issues? Do you
14 think you have enough from the staff right now?

15 MR. HARRINGTON: No. I think over the
16 last couple of years, we have come to a mutual
17 understanding of what is required. And it's more than
18 we had expected several years ago, but I think we are
19 very clear on what it is and are intending on
20 delivering that.

21 MR. LEE: Thank you.

22 MEMBER HINZE: Further questions?

23 MR. HAMDAN: I have a question.

24 MEMBER HINZE: Latif?

25 MR. HAMDAN: Yes. At this stage of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 project and in the preliminary design space, what are
2 the most challenging issues that you find? Where are
3 the bottlenecks? You mentioned you are in the
4 preliminary stage of design. What is broke, let's
5 say?

6 MR. HARRINGTON: The structural design of
7 the facility, this is really the current critical
8 path. I talked a little bit earlier about the Tier 1
9 lump mass model. We do that.

10 We do the seismic fragility analysis of
11 the structure. We will then have to convolve those
12 two to end up with the overall probability. Post-LA
13 submittal, we will do the 3D evaluation of the
14 structural capability. But based on the inherent
15 conservatism in the 2D, we think that is a reasonable
16 approach to take.

17 That is the critical path. It is the most
18 time-consuming right now, just a lot of structural
19 design work to be done.

20 MR. HAMDAN: Thank you.

21 MEMBER HINZE: Additional questions?

22 (No response.)

23 MEMBER HINZE: If not, then thank you very
24 much, Paul. This has been very illuminating and very
25 helpful to us. And we appreciate you coming.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HARRINGTON: You are welcome. And I
2 will plan on coming back.

3 MEMBER HINZE: I will turn the meeting
4 back to the Vice Chairman Croff, who will move us out.

5 VICE CHAIRMAN CROFF: Thanks. We will
6 take a 15-minute break here and reconvene and talk
7 about our action plan.

8 (Whereupon, a luncheon recess was taken
9 at 10:17 a.m.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 A-F-T-E-R-N-O-O-N S-E-S-S-I-O-N

2 (1:00 p.m.)

3 VICE CHAIRMAN CROFF: Chairman Ryan has a
4 meeting at 1:00 o'clock. He won't be here for about
5 another half-hour. So I'm going to open it as Vice
6 Chair and promptly turn it over to Jim, who is going
7 to run this meeting. Go ahead.

8 MEMBER CLARKE: Thank you, Allen.

9 10) BRIEFING ON SHIELDALLOY, NEW JERSEY

10 SITE DECOMMISSIONING PLAN

11 MEMBER CLARKE: Our presentation for this
12 first afternoon presentation will be given by Ken
13 Kalman. Ken is in the Materials Decommissioning
14 Branch, Division of Waste Management and Environmental
15 Protection in the Office of Federal and State
16 Materials and Environmental Management Programs.

17 Ken is the NRC project manager of the
18 Shieldalloy Metallurgical Corporation site in New
19 Jersey. And I understand that Rebecca Tedesse --

20 MS. TEDESSE: Yes.

21 MEMBER CLARKE: -- will be delivering some
22 opening remarks as well. So thank you.

23 MS. TEDESSE: Good afternoon. My name is
24 Rebecca Tedesse. I am the Branch Chief for the
25 Materials Decommissioning Branch. It is our pleasure

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to brief you today on the decommissioning plan for
2 Shieldalloy Corporation complex decommissioning site.

3 We preface our remarks today with the
4 following. First, the staff is in the initial stages
5 of our review of the decommissioning plan. Secondly,
6 the Shieldalloy proposal is complex, requiring the
7 involvement of integrated of a number of technical
8 disciplines for the review.

9 Therefore, our assessment of the
10 Shieldalloy decommissioning plan is under development.
11 And we expect to issue a request for additional
12 information at the end of April.

13 Though this limitation exists, we are
14 prepared to provide the Committee with an overview of
15 the site and the proposed decommissioning plan.
16 Shieldalloy has submitted a proposal to decommission
17 its Newfield, New Jersey site. Its proposal includes
18 releasing a majority of the site for unrestricted use
19 with the remainder of the sites proposed for
20 restricted use.

21 That portion of the site proposed for
22 restricted use would contain contaminated material,
23 consolidated, shaped, graded, and covered with
24 engineering barrier. The restricted portion of the
25 site would be maintained and monitored under

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 restricted use conditions specified by the NRC.

2 And, with that, I will turn it to Ken
3 Kalman, the project manager.

4 MR. KALMAN: Okay. And if you would skip
5 ahead to slide number 3? I am going to begin my
6 presentation by giving a discussion of Shieldalloy's
7 operations. Then I will discuss the history of
8 submittals and reviews of Shieldalloy's
9 decommissioning plan and will also discuss
10 Shieldalloy's proposal and concluded with the
11 projected time frame of our activities and the current
12 status of our review and also let you know what we
13 have done to enable stakeholders to get more
14 information to submit their comments to us.

15 If you would go up to slide number 4,
16 please? Okay. First let's get oriented. This map
17 shows the location of the site. The site is comprised
18 of approximately 68 contiguous acres to the northeast
19 of the intersection of West Boulevard and Weymouth
20 Road. There is also approximately 20 acres of
21 farmland to the southwest that was not a part of
22 Shieldalloy's metallurgical process.

23 Slide 5. This aerial photos shows the
24 site. The process buildings are on the west. And the
25 slag pile is on the east.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Slide 6. Okay. I will briefly summarize
2 the operations at the site. From 1995 to 1998, one of
3 the raw materials that Shieldalloy used was a niobium
4 ore called pyrochlore. This ore contained natural
5 uranium and thorium in concentrations greater than
6 0.05 percent, regulated source material. So we
7 licensed Shieldalloy to possess up to 45,000 kilograms
8 of uranium and 303,050 kilograms of thorium.

9 Slide 7. As a result of its metallurgical
10 operations, Shieldalloy generated 18,000 cubic meters
11 of slag and 15,000 cubic meters of baghouse dust
12 containing uranium and thorium. Slag is the vitrified
13 matter that remains after metal is extracted from its
14 ore. Baghouse dust is the particulate matter that is
15 trapped in the sacs.

16 In August of --

17 MEMBER WEINER: Could I ask a question?

18 MR. KALMAN: Sure.

19 MEMBER WEINER: Is the concentration in
20 the slag, of uranium and thorium in the slag, the same
21 as the concentration in the baghouse dust?

22 MR. KALMAN: It's roughly the same. I
23 believe the concentration is a little bit higher in
24 the baghouse dust.

25 MEMBER WEINER: Both?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KALMAN: Right. Okay. In August
2 2001, Shieldalloy notified NRC that it ceased
3 operations and intended to decommission the site.
4 After terminating its operations, Shieldalloy was
5 within its license limit for possession of uranium and
6 thorium.

7 During its operations, Shieldalloy planned
8 to sell the slag and baghouse dust for its extractable
9 uranium content. However, Shieldalloy was unable to
10 find a buyer, but Shieldalloy contends that the
11 material still has some economic value. The slag can
12 be used as a fluidizer by the steel industry. And the
13 baghouse dust could be substituted for lime in the
14 production of cement.

15 Slide 8, please. Before moving on, I
16 would like to take a brief look at the slag pile.
17 This photo was taken at the northwest corner of the
18 pile. The yellow and magenta radioactivity material
19 sign on the bottom of the left side of the photo is
20 close to six feet tall.

21 If you go on to slide 9, here we have one
22 of our inspectors measuring exposure rates of the slag
23 at that sign. The photo gives you a better idea of
24 the size and the appearance of the slag.

25 And if you go to slide 10? Then this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 photo shows the bags that were used to collect the
2 particulate and baghouse dust. The bags are like this
3 really at the bottom of the screen.

4 Slide 11. Okay. Now I will discuss the
5 history behind the submittals and the reviews of
6 Shieldalloy's decommissioning plan. When we receive
7 a decommissioning plan, the NRC staff first performs
8 an acceptance review to determine whether sufficient
9 information has been provided for us to move ahead
10 with our detailed technical review.

11 During our acceptance reviews, there were
12 several open-to-the-public meetings and telephone
13 conferences. The New Jersey Department of
14 Environmental Protection and several local
15 stakeholders observed these meetings and were afforded
16 the opportunity to ask questions.

17 The first decommissioning plan was
18 submitted in August of 2002 and rejected in February
19 of 2003 because it was deficient in providing the NRC
20 staff with sufficient information to conduct a
21 detailed technical review.

22 After several meetings with Shieldalloy,
23 we realized that Shieldalloy needed additional
24 guidance on the long-term control license. So we
25 developed interim guidance and provided it to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Shieldalloy in May of 2004.

2 Slide 12. Shieldalloy used the interim
3 guidance to develop a revised decommissioning plan,
4 which was submitted to the NRC in October of 2005.
5 However, the NRC staff rejected that plan also in
6 January 2006 because it still didn't provide us with
7 enough information in several key areas. These
8 included dose modeling, surface water hydrology and
9 erosion protection of the slag pile, Shieldalloy's
10 long-term control approach for restricting future use
11 of the site and establishing some institutional
12 controls, and Shieldalloy's rationale for its
13 alternative approach for meeting the regulatory
14 requirements for financial assurance.

15 Slide 13. We then met with Shieldalloy in
16 March of 2006 in an open-to-the-public meeting to
17 discuss the aforementioned deficiencies. In June of
18 2006, Shieldalloy submitted supplemental information
19 that responded to our need for additional information.
20 In October of 2006, we accepted the revised
21 decommissioning plan as supplemented for our detailed
22 technical review.

23 Slide 14. On November 16th, 2006, the NRC
24 published a Federal Register notice announcing its
25 receipt of the decommissioning plan and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 opportunity to request a hearing. The cutoff date for
2 requesting a hearing was January 16th, 2007. And a
3 cutoff date for submitting comments on the
4 decommissioning plan was March the 16th of 2007.

5 On December 5th of 2006, we held a
6 decommissioning information meeting near the site in
7 Newfield, New Jersey, where we discussed our review
8 process. There were over 150 local stakeholders in
9 attendance. They expressed their concern with
10 Shieldalloy's proposal to leave the radioactive slag
11 and baghouse dust on site.

12 As Shieldalloy's proposed is for
13 restrictive use decommissioning, we are also preparing
14 an environmental impact statement that will enter into
15 our decision on the proposal. Consequently, we held
16 an environmental impact statement scoping meeting in
17 Newfield on December 12th of 2006. Again, the
18 stakeholders, including Senator Menendez, voiced their
19 concerns with the proposal to leave the material on
20 site.

21 Slide 15. I will now briefly discuss
22 Shieldalloy's proposal for decommissioning the site.
23 My discussion will focus on the 67.7-acre portion of
24 the site where metallurgical activities were
25 conducted.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 This is the area where Shieldalloy
2 conducted its metallurgical processes. The western
3 portion of this area is comprised of parking lots,
4 administrative offices, and manufacturing buildings.
5 This area is mostly covered with asphalt or concrete.

6 Most of this area was not impacted by
7 license operations. However, buildings that were
8 impacted were remediated as necessary and were
9 surveyed to meet the NRC's criteria from restricted
10 use.

11 This photo gives you an idea of what the
12 process area looks like.

13 Okay. Let's go to slide 17. The storage
14 yard in the eastern portion of the site is used to
15 store materials generated during manufacturing
16 operations, such as slag, baghouse dust, excavated
17 soils, and other materials.

18 The contaminated slag pile is a prominent
19 feature of the site. As I noted earlier, there are
20 approximately 18,000 cubic meters of slag and
21 approximately 15,000 cubic meters of baghouse dust
22 stored on site. Region I inspections have confirmed
23 that operational exposure limits are being met.

24 Slide 18, please. In developing its
25 decommissioning plan, Shieldalloy considered several

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 options for decommissioning the site. These included
2 license continuation, off-site disposal and license
3 termination, and on-site stabilization and long-term
4 control. After conducting a cost-benefit analysis,
5 Shieldalloy proposed the use of on-site stabilization
6 and long-term control.

7 Slide 19, please. The proposal entails
8 releasing most of the site for unrestricted use and
9 consolidating all the licensable residual radioactive
10 material in a portion of the storage yard in the
11 eastern side of the facility. The radioactive
12 material would then be shaped, graded, and covered
13 with an engineered barrier so as to minimize the
14 potential exposure of members of the public to
15 radioactive material.

16 VICE CHAIRMAN CROFF: Excuse me.

17 MR. KALMAN: Yes?

18 VICE CHAIRMAN CROFF: Maybe we had better
19 stop for just a minute and let Ron do his thing there.
20 Dialing is going to be distracting. We will have a
21 short hiatus here.

22 (Whereupon, the foregoing matter went off
23 the record at 1:11 p.m. and went back on
24 the record at 1:13 p.m.)

25 MEMBER CLARKE: I'm sorry, but if I could

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ask you one more time to give us your name?

2 MS. GOODMAN: Are you talking to me?

3 MEMBER CLARKE: Yes.

4 MS. GOODMAN: Okay. Sorry. Jenny
5 Goodman.

6 MEMBER CLARKE: Okay. And you said there
7 was another person on the line as well?

8 MS. GOODMAN: Yes. Patricia Gardner.

9 MEMBER CLARKE: Okay. You have joined us
10 in progress. Ken, let me turn it back to you.

11 MR. KALMAN: Okay. Jenny, this is Ken
12 Kalman. I am pretty much giving the same presentation
13 I gave during the March 5th public meeting.

14 MS. GOODMAN: Okay.

15 MR. KALMAN: Okay. And I am almost
16 finished with it.

17 MS. GOODMAN: That's fine.

18 MR. KALMAN: Okay. So we're on slide 19.
19 And I'm talking about Shieldalloy's proposal. The
20 proposal entails releasing most of the site for
21 unrestricted use and consolidating all licensable
22 residual radioactive material in a portion of the
23 storage yard in the eastern side of the facility.

24 The radioactive material would then be
25 shaped, graded, and covered with an engineered barrier

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 so as to minimize the potential exposure of members of
2 the public to radioactive material.

3 This area would be subjected to long-term
4 maintenance and monitoring under restricted use
5 conditions. And financial assurances would be
6 provided for these activities.

7 Slide 20. Shieldalloy has performed
8 radiation dose analyses for both the unrestricted and
9 restricted areas of the site using a variety of
10 scenarios. Shieldalloy used two scenarios in its
11 estimates for the dose of the unrestricted area and
12 both for one millirem per year. Shieldalloy used
13 eight scenarios for the restricted areas, and the
14 doses ranged from one to 21 millirem per year. These
15 doses are lower than our limit of 25 millirem per
16 year. These scenarios included scenarios for
17 restrictions remaining in place and conditions where
18 the institutional controls fail.

19 It is important to note that these
20 estimates have not yet been reviewed by the NRC staff.
21 And as part of our detailed technical review, we will
22 be performing our own independent dose analysis.

23 Slide 21. Just to give you a rough idea
24 of the time frames we are dealing with as part of our
25 decommissioning plan review process, we will be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 transmitting requests for additional information to
2 Shieldalloy by April 30th of 2007. We anticipate
3 completing our detailed technical review and our
4 safety evaluation report in October of 2007. And we
5 then anticipate completing our environmental impact
6 statement in 2008.

7 If NRC approves the proposal, Shieldalloy
8 anticipates completing its decommissioning in 2011.
9 And NRC would then complete its licensing action in
10 2012.

11 Slide number 22. Throughout this process,
12 we have made provisions for stakeholders and other
13 interested parties to get more information on
14 Shieldalloy decommissioning.

15 As we move forward with our review, copies
16 of documents relating to Shieldalloy will be housed in
17 the public library in Newfield. In addition, we are
18 maintaining Web sites where information can also be
19 obtained.

20 Slide number 23. As noted earlier, there
21 were two important dates for the stakeholders. The
22 cutoff date for requesting a hearing was January 16th,
23 2007. And the cutoff for submitting comments on the
24 decommissioning plan was March 16th, 2007. We will
25 address these in our safety evaluation report.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Slide 24. To date we have received
2 comments on the decommissioning plan from the Sierra
3 Club and the U.S. Environmental Protection Agency's
4 Region 2 office.

5 We also received comments from the New
6 Jersey Department of Environmental Protection, which
7 I did not find out about until after I had already
8 sent these slides out to be copied. So you may want
9 to pencil "NJ DEP" on page 24 of the slides before
10 you.

11 We are currently in the process of setting
12 up a meeting with the EPA Region 2 office to discuss
13 their comments.

14 Slide number 25. In addition to the
15 comments, we have also received some related requests,
16 including seven requests for hearings, a petition for
17 rulemaking on guidance that was provided in
18 NUREG-1757, and a motion for stay that was filed in
19 the U.S. Court of Appeals for the Third Circuit. The
20 NRC attorneys are responding to these actions as
21 appropriate.

22 In concluding my presentation, again I
23 thank you for the opportunity to brief you on the
24 Shieldalloy decommissioning plan. And if you have any
25 questions, we are here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER CLARKE: Ken, thank you. Rebecca,
2 thank you as well. The Committee, as you know, is
3 interested in the decommissioning of complex sites.
4 And this briefing is helpful.

5 At this point let me turn to the Committee
6 and see if we have any questions. Allen, would you
7 like to start?

8 VICE CHAIRMAN CROFF: Yes, as long as I
9 can talk. Can you be a little more quantitative on
10 the uranium and thorium concentrations in the slag and
11 baghouse dust?

12 MR. KALMAN: I've got enough right now.

13 MS. TEDESSE: Unfortunately, our health
14 physicist was stuck in the ops plan. He should be in
15 any time. But I think, Robert, do you have anything?

16 VICE CHAIRMAN CROFF: Okay.

17 MR. McCONNELL: We'll get back to you.
18 There is an exercise going on. And the health
19 physicist who was to be here is involved in that
20 exercise. And so we are a little bit shorthanded.

21 VICE CHAIRMAN CROFF: Could you talk just
22 a little bit more about the area around this site?
23 How populated is it? I mean, is it an
24 industrial-farmland mix, whatever?

25 MR. McCONNELL: It's a mix. If you go

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 back to slide number 3 or 4 --

2 MS. TEDESSE: Could you go back to it?

3 Slide 5.

4 VICE CHAIRMAN CROFF: No. You are going
5 to have to stay up there near the microphone. Use the
6 pointer.

7 MR. KALMAN: Okay. Right here is
8 Weymouth, and this is West. As you go further down
9 West in this area to the north, you will find a little
10 bit of light industry. Down here south of Weymouth is
11 residential. There are actually some new homes going
12 up in this area down here.

13 VICE CHAIRMAN CROFF: Okay.

14 MR. KALMAN: Over here, where you have got
15 the 20-acre portion of the site, that is primarily
16 farmland.

17 VICE CHAIRMAN CROFF: Okay. Thanks.

18 MR. KALMAN: And also as you go up here
19 north of the site, it is also residential. And this
20 is the area where it is pretty much the center of
21 Newfield, where the high school is.

22 VICE CHAIRMAN CROFF: Are there any creeks
23 or anything running along or through?

24 MR. KALMAN: Right here you have got the
25 Hudson branch.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN CROFF: Okay. You mentioned
2 trying to sell the slag and baghouse dust or not you
3 but Shieldalloy and they were unsuccessful. Why were
4 they unsuccessful? I mean, if there's a market for
5 it, why didn't it sell?

6 MR. KALMAN: Part of it is they were just
7 having a little bit of difficulty getting the interest
8 in it. You know, people are a little bit concerned
9 about picking up material that's been slightly
10 radioactive.

11 VICE CHAIRMAN CROFF: Oh, okay. So there
12 is a market for similar materials that generally don't
13 have uranium and thorium in them or not much?

14 MR. KALMAN: Right.

15 VICE CHAIRMAN CROFF: Oh, okay. And on
16 the stabilization, the proposed stabilization on site,
17 how are they proposing to stabilize it?

18 MR. KALMAN: What they would be doing is
19 the material in the slag pile will be shaped in sort
20 of basically like a rectangular shape. It would have
21 roughly eight-acre footprints.

22 And what they would be doing, they would
23 be taking their slag. As you recall from those
24 pictures, you get some pretty big particle, you know,
25 chunks of slag there.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 VICE CHAIRMAN CROFF: Right.

2 MR. KALMAN: I believe part of their
3 proposal would be to crush some of that down into
4 smaller pieces and then bulldoze everything together.
5 They would also be using the baghouse dust to help
6 fill in some of the voids. And then they would be
7 covering it with layers of soil and riprap to prevent
8 erosion.

9 And, as I said, the footprint would be
10 about eight meters. And the pile itself would be
11 about 30 feet tall.

12 VICE CHAIRMAN CROFF: Eight meters?

13 MR. KALMAN: Eight acres. Sorry.

14 VICE CHAIRMAN CROFF: Eight acres. Okay.
15 That sounds a little better. Okay. I think I'll pass
16 at this point?

17 MEMBER CLARKE: Okay. Bill?

18 MEMBER HINZE: While you have that up
19 there, could you explain? Are we looking at several
20 dumps? What is the character of the site from a
21 topographic, geomorphic, geologic, hydrologic
22 viewpoint before the dumps were put on the site?

23 And my experience with these dumps is that
24 they usually put them in what starts off as holes in
25 some kind of depression in the Earth. Is there a flat

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 area where they are filling up a depression? What is
2 the geology of the site?

3 MR. KALMAN: Well, it's basically all
4 pretty flat. It is all pretty flat land. I mean,
5 this area is only about 40 miles.

6 MR. HARRINGTON: "Pretty flat"? What does
7 that mean? I'm sorry. I am going to push you on
8 that.

9 MR. KALMAN: There are probably only maybe
10 about a 20 or 30-foot variations in tomography.

11 MEMBER HINZE: But is the site of the dump
12 a depression that would be 8 feet, 10 feet, or is it
13 flat across that --

14 MR. WIDMAYER: They just piled it on top
15 of the surface, right? They just piled it on the
16 surface.

17 MEMBER HINZE: But did it start off as a
18 depression? The original --

19 MS. TEDESSE: No.

20 MR. KALMAN: No.

21 MS. TEDESSE: It was just a flat surface
22 --

23 MEMBER HINZE: Just a flat surface. Okay.
24 And how many dumps are there? And currently are the
25 ore and the baghouse dust in separate dumps?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. TEDESSE: They're right next to each
2 other. Basically there is the slag piles, and then
3 there is the baghouse dust. And they are right next
4 to each other.

5 MEMBER HINZE: And what is the size of the
6 dumps? What is the size of the dumps? How long? How
7 high are they?

8 MS. TEDESSE: Robert, do you think you can
9 answer that, please?

10 MR. CAMPER: I will venture a guess, just
11 a recall. I was up at the site. It is probably about
12 80 feet high. It is probably about a football field
13 and a half in length and probably a football field in
14 width, give or take.

15 MEMBER HINZE: Thank you.

16 MR. CAMPER: I'm sorry. Larry Camper.

17 MEMBER HINZE: In order to get an
18 understanding of this, one needs to have a view of
19 what the problem really is from a physical standpoint.

20 As I understand it, Ken, you originally
21 rejected the decommissioning proposal for several
22 reasons, including site characterization of the
23 hydrology and erosion. Is that correct?

24 And then subsequently you have obtained
25 additional information. And you have now accepted

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that for detailed technical review?

2 (No audible response.)

3 MEMBER HINZE: Okay. That's where we're
4 at. Can you give us some insight into what were the
5 problems originally and how they were remedied by
6 Shieldalloy in the areas of hydrology and erosion?

7 MR. KALMAN: Well, as Rebecca pointed out,
8 we are kind of early in our technical review, but I
9 think, Robert, would you be able to field some of
10 that?

11 MR. JOHNSON: Robert Johnson. I can
12 mention a few things.

13 The original DP rejection was also based
14 on lack of a plan for institutional controls and the
15 associated financial assurances that go along with the
16 trust fund.

17 MEMBER HINZE: Dose modeling and so forth,
18 right?

19 MR. JOHNSON: And then there was also dose
20 modeling and other technical issues. But there was
21 also lack of public involvement that is required under
22 the license termination rules. So these were all
23 other reasons, too, why the original plan was
24 rejected.

25 And the proposed DP, revised DP, came

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 back. And we had problems with erosion there on the
2 cover design. And that's where erosion came in. You
3 know, that wasn't an original one.

4 So how they have addressed those with
5 respect to institutional controls, of course, they
6 have proposed the long-term control license. With
7 respect to financial assurance, you know, they have
8 revised their cost estimate that we will be reviewing
9 for the trust fund that would take care of monitoring
10 and maintenance.

11 For the erosion control issue, they have
12 proposed a riprap cover erosion, protection cover
13 consistent with our guidance, decommissioning
14 guidance, as well as our milltailings guidance.

15 And so in a nutshell, the dose modeling
16 and all of that I can't speak to. You know, those
17 were other issues that --

18 MEMBER HINZE: Well, I don't want to ask
19 questions that I shouldn't ask, but the hydrology
20 interests me, of course, as I think it should. And I
21 am wondering, what is the hydrology here? Are we
22 talking about a groundwater table that is relatively
23 close to the surface? Do we have any perching? Do we
24 have a confined aquifer? What kind of potential
25 metric surfaces do we have leading to the creek, et

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cetera?

2 MR. McCONNELL: Dr. Hinze, when we come
3 back and talk to you after we have developed our
4 request for additional information -- I am Keith
5 McConnell of the NRC -- we will be able to answer all
6 of those questions, if you don't mind.

7 Again, I think our goal at this meeting
8 was to try to just give you an introduction to the
9 site and realizing that is kind of like opening the
10 gate.

11 (Laughter.)

12 MR. McCONNELL: But we will back, I think.
13 And, you know, we will have the right people here and
14 be able to answer your questions.

15 I would like to respond to one comment or
16 question about the commercial use. One of the
17 applications that the licensee did try to or one way
18 they tried to sell this material was to sell it as
19 alternate feed in a uranium mill. But they were told
20 that the refractory nature of the slag made it so
21 expensive to remove the uranium out of the slag that
22 it just wasn't commercially viable in that particular
23 circumstance. And I think they have looked at other
24 options in selling it overseas but haven't been
25 successful in that regard.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And I don't mean to interrupt you, but we
2 also have our health physicist here. And he can now
3 respond, I think, to the other question on the
4 concentration of the slag if it's appropriate.

5 VICE CHAIRMAN CROFF: Do it.

6 MR. SCHMIDT: Hi. I am Duane Schmidt of
7 the NRC.

8 I don't have the figures in front of me.
9 So I am going somewhat from memory. But from what
10 Shieldalloy had included in their decommissioning
11 plan, for the slag materials, they were estimating
12 average concentrations on the order of 200 picocuries
13 per gram -- I think it was a little bit less than that
14 -- for each member of the uranium series and the
15 thorium series, U-238 series and thorium-232 series.

16 We I believe already have RAIs asking
17 about those numbers because I think there is
18 additional information out there. And, frankly, it's
19 a little bit odd that the numbers are exactly the same
20 for uranium and thorium. So there is more to come on
21 the details.

22 MEMBER HINZE: Okay.

23 MR. SCHMIDT: The baghouse dust, the value
24 that they have in the DP I believe was ten picocuries
25 per gram, again for each of the uranium and thorium

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 chain members.

2 And I don't know. There was another
3 question that I could at least help a little bit on.
4 I think Dr. Hinze was asking about the size of what
5 we're talking about here.

6 The volumes of contaminated slag and
7 contaminated baghouse dust, again, as best I recall,
8 are somewhere on the order of 20,000 cubic meters of
9 each of those, so the slag pile and the baghouse dust
10 pile.

11 They have an additional contamination,
12 which they had done some cleanup of the Hall Road that
13 they had found to be contaminated. And that's a fewer
14 or several thousand cubic meters, I believe, but at
15 least order of magnitude.

16 MEMBER HINZE: Is this a unique site?

17 MS. TEDESSE: Yes.

18 MEMBER HINZE: In the United States?

19 MR. McCONNELL: Well, unique in what
20 terms? It's not the only slag site.

21 MEMBER HINZE: In terms of the slag and
22 the baghouse dust.

23 MR. McCONNELL: There are other sites with
24 slag. In fact, Shieldalloy has a sister facility in
25 Ohio that --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER HINZE: That's what I was wondering
2 about.

3 MR. McCONNELL: -- that is now regulated
4 by the State of Ohio as one of our agreement states.
5 So it's not unique in those terms. It's unique in the
6 sense that for us, this is the first time a licensee
7 has requested a long-term control license as the
8 administrative measure in the institutional control.

9 MEMBER HINZE: How is that handled in
10 Ohio, then? Is that a long-term or is it still
11 operating or --

12 MR. JOHNSON: We have interacted a little
13 bit with the State of Ohio on their site. And they
14 are approaching the institutional control the same
15 way. They are using a long-term control license.
16 They don't call it that, but it's a decommissioning
17 long-term control license.

18 They don't release the site for restricted
19 release. You know, they keep the site under a license
20 and do the inspections and have conditions in the
21 license that limit the use of the site.

22 So it's very similar. And when we
23 proposed the long-term control license to the
24 Commission, we referenced their use of that site and
25 the Commission's approval of that approach when Ohio

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 became an agreement state in 1999.

2 MEMBER HINZE: That's helpful. Thank you.
3 I will pass.

4 MEMBER CLARKE: Thank you, Bill.

5 MEMBER WEINER: Just tell me if you can't
6 answer the question. What is the technical basis for
7 the primary concern that the public has about this
8 site?

9 MR. KALMAN: I think it's mostly just a
10 concern over exposure over the long term.

11 MEMBER WEINER: Just about the fact that
12 there is a long-term site there?

13 MR. KALMAN: Yes. Well, that's one part.
14 And subordinate to that would be the economic impact.
15 You know, leaving this material on site would be
16 taking land out of their tax basis. It would be
17 discouraging other businesses from developing.

18 MEMBER WEINER: Could anything be
19 developed? I mean, I simply don't know. Under a
20 long-term license like that, could there be other
21 development on the site?

22 MR. KALMAN: Robert?

23 MR. JOHNSON: Robert Johnson.

24 Just keep in mind that part of the site
25 that would be under the long-term control license is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 only the eight acres where the disposal pile is. And
2 the rest of the site, the 60 acres, would be released
3 for unrestricted use.

4 So what remains under the license is
5 basically the covered slag --

6 MEMBER WEINER: I see.

7 MR. JOHNSON: -- with not much obviously
8 space for any other use at all.

9 MEMBER WEINER: I'm sorry.

10 MR. CAMPER: Larry Camper, NRC.

11 In answer to your question, there were two
12 things I think that came through resoundingly clear in
13 the public meeting that we had in Newfield along the
14 lines of concerns. The first is the fact that the
15 slag is radioactive. It contains uranium and thorium
16 and is going to stay there. And, therefore, it is
17 viewed as a low-level waste site by the local
18 citizens. And they, by and large, cannot comprehend
19 how it can possibly stay there.

20 With regards to technical concerns, a
21 striking technical concern that we did here is that
22 the period of performance for our rule is 1,000 years.
23 But, yet, these isotopes have half-lives considerably
24 longer than that. And, therefore, how can one
25 possibly evaluate those particular radionuclides given

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that period of performance? So that was a technical
2 question that we were challenged with.

3 MEMBER WEINER: How much does the
4 concentration in the slag differ from the
5 concentration in the soil, concentration of uranium,
6 for example, in the soil? Is this very different? Is
7 it markedly different? Not different? Twice as much,
8 whatever?

9 MR. SCHMIDT: Duane Schmidt.

10 MEMBER WEINER: You have uranium in the
11 soil. I mean --

12 VICE CHAIRMAN CROFF: Ruth, you have got
13 somebody over here who is trying to answer.

14 MEMBER WEINER: Thank you.

15 MR. SCHMIDT: Are you talking about
16 background concentrations in the soil?

17 MEMBER WEINER: Yes, basically background
18 concentrations.

19 MR. SCHMIDT: I mean, if we go with the
20 numbers of around 200 picocuries per gram in the soil,
21 at least, you know, typical site, background would be
22 on the order of one picocurie per gram for uranium and
23 for thorium, really. So a couple of hundred times
24 background in the slag, yes.

25 MEMBER WEINER: Go ahead.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER HINZE: Excuse me. Is this in the
2 crystalline bedrock area of New Jersey? What is the
3 basic geology here?

4 MR. McCONNELL: I think it is in the
5 coastal plain.

6 MEMBER HINZE: Coastal plain?

7 MR. McCONNELL: Yes.

8 MEMBER HINZE: Okay.

9 MR. McCONNELL: And that's my
10 recollection.

11 MEMBER HINZE: Okay. Because there is a
12 great deal of difference in terms of the background.

13 MEMBER WEINER: Yes.

14 MEMBER CLARKE: The decommissioning plan
15 has background information on geology, seismology,
16 groundwater hydrology, surface water hydrology design,
17 background sort of factual information in the
18 decommissioning plan.

19 MEMBER WEINER: Can I ask a couple of
20 more?

21 MEMBER CLARKE: Sure.

22 MEMBER WEINER: Are the slag and the
23 baghouse dust relatively homogeneous in concentration
24 of uranium and thorium or are there some chunks of it
25 that have more and some less?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SCHMIDT: Again, Duane Schmidt.
2 Actually, at this point I am unclear on that myself.
3 The data in the DP is fairly or the numbers, I should
4 say, in the DP are fairly limited. And I don't have
5 in front of me yet the sources of that average
6 concentration. You know, we can speculate, but I
7 don't know.

8 MEMBER WEINER: Where I was kind of going
9 with that, if the problem is leaving this material in
10 place, is there some of it that could be sent to a
11 disposable facility and leave some of it in place?
12 But if it's homogeneous, that isn't going to make any
13 difference.

14 MR. SCHMIDT: I think in terms of, for
15 example, the slag itself, at least I don't know yet,
16 but, as Ken might have pointed out before, the slag
17 pile is fairly distinct from the baghouse dust.

18 And the concentrations are definitely
19 significantly different between those two sources. So
20 there might be something along those lines, at least,
21 in terms of the different materials.

22 MEMBER WEINER: Thank you.

23 MEMBER CLARKE: Any other questions from
24 the Committee?

25 VICE CHAIRMAN CROFF: I've got one if you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 don't mind. The baghouse dust, I am assuming it's
2 dust-like. What is it contained in?

3 MR. KALMAN: Well, right now -- could we
4 go back? I forgot what slide it was. Can you see on
5 the slide there? You know, it's pretty much just
6 laying out on its own.

7 What happens with this material is it's
8 fairly granular. You know, it doesn't appear to be
9 respirable material. It's fairly large particles.
10 No, that's not it. It's towards the end.

11 And with this material, you know, when
12 it's sitting out in the open and as rain gets to it,
13 it tends to actually form a crust over the top of it.

14 VICE CHAIRMAN CROFF: That says
15 "particulate bags." Does that mean the particles are
16 in a bag?

17 MR. KALMAN: You can see it. These bags
18 have been opened.

19 MEMBER WEINER: Yes. You can see it
20 easily in here.

21 VICE CHAIRMAN CROFF: Okay. And the bags
22 are porous, right, to perform their function? Right?
23 All right. That's what I wanted to know.

24 MEMBER CLARKE: We appreciate you are
25 early in your technical evaluation. This briefing has

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 been helpful. Derek?

2 MR. WIDMAYER: Yes. I have like 100
3 questions that I was going to ask, but -- that was
4 supposed to be funny. I do have one. This being a
5 proposal for restricted release, doesn't this trigger
6 the infamous EPA memorandum of understanding? And I
7 was wondering what was going on with that.

8 MS. TEDESSE: Yes, it does. And, again,
9 since we are in the early process, once we have the
10 RAIs, we are going to meet with Region 2 of EPA and
11 discuss some of their questions. And then we will
12 have a formal consultation with them.

13 MR. WIDMAYER: Okay. So you mentioned the
14 meeting with Region 2 earlier. That's what that
15 meeting is about?

16 MS. TEDESSE: Well, the MOU is with the
17 headquarters, but yes, you know, the regions will --
18 Region 2 has oversight over the New Jersey. I will
19 meet with them, but it's the beginning of that meeting
20 that we will have a formal consultation at the
21 beginning, at the finish of the DP as well as when we
22 release it. It will be both.

23 MR. WIDMAYER: Okay. Thanks.

24 MEMBER CLARKE: Latif?

25 MR. HAMDAN: Yes. You mentioned economics

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and the aesthetics for the neighborhood or the area,
2 but what are the health and safety impacts, whether
3 they are real or perceived?

4 MR. KALMAN: Well, I don't think we would
5 know that until after we had done risk assessment.

6 MR. HAMDAN: Okay.

7 MR. WIDMAYER: The presentation gave an
8 indication of what was in the DP, that Shieldalloy,
9 their calculations.

10 MS. TEDESSE: We are early in --

11 MR. HAMDAN: What's at risk? That's what
12 I am trying to say.

13 MS. TEDESSE: I guess I don't understand
14 "at risk."

15 MR. HAMDAN: What are the safety issues?
16 And what are the issues at this site? Is it the
17 groundwater, drinking groundwater? What is it?

18 MR. McCONNELL: This is Keith McConnell.

19 I think that the issues of concern
20 certainly to the residents are twofold: one, that the
21 material could blow off site and be respirated. And
22 there would be a short term more or less before the
23 decommissioning takes place.

24 And then in the long term, obviously if
25 water percolates through the material and it's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 leachable, which is still a subject of our review, of
2 course, it would get into the groundwater pathway and
3 then out to the residents. So in terms of exposure
4 scenarios, those are the exposure scenarios that I
5 think are of concern right now.

6 MEMBER CLARKE: Any other questions from
7 the staff? Dr. Ryan, do you have any questions?

8 CHAIRMAN RYAN: No thank you.

9 (Laughter.)

10 MEMBER CLARKE: Keith, Robert --

11 MR. McCONNELL: I would just add one
12 thing. For your information, there is other
13 contamination at this site that is not regulated by
14 the NRC. There is chromium in the groundwater, which
15 the state and EPA are handling right now.

16 So, I mean, that's another aspect of I
17 think the citizens of the area's concern, that there
18 is this existing contamination. I think from their
19 perspective, that is sufficient. They don't want any
20 more contamination of groundwater in that area is part
21 of their concern.

22 MEMBER CLARKE: Okay. Well, again we
23 thank you. And we look forward to learning more when
24 you come back. Thank you very much.

25 VICE CHAIRMAN CROFF: Okay. With that, I,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 too, thank you. And we will look forward to hearing
2 from you when you are further along in your review.

3 With that, we will take a 15-minute break.
4 We want to start the next session on time.

5 (Whereupon, the foregoing matter went off
6 the record at 1:43 p.m. and went back on
7 the record at 1:59 p.m.)

8 CHAIRMAN RYAN: The cognizant member for
9 this presentation is Professor Hinze.

10 MEMBER HINZE: Thank you very much, Dr.
11 Ryan.

12 CHAIRMAN RYAN: Thank you.

13 MEMBER HINZE: We should have two groups
14 on the bridge, Professor Marsh from Johns Hopkins
15 University. Professor? Let's hear Professor March.
16 Are you on there?

17 MR. MARSH: I am here.

18 MEMBER HINZE: Very good. How about the
19 center?

20 (No response.)

21 MEMBER HINZE: So we will, then, hold that
22 in abeyance. And I will proceed, then.

23 CHAIRMAN RYAN: May I suggest, Professor
24 Hinze, that we want to call the center and see if they
25 are ready to call in?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER HINZE: Has that been done?

2 CHAIRMAN RYAN: I don't mind taking two
3 minutes and having a courtesy call in to them to see
4 if they are okay.

5 (Whereupon, the foregoing matter went off
6 the record briefly.)

7 CHAIRMAN RYAN: We'll just hold the record
8 for a minute here and take a short pause to see if we
9 can get the center hooked in.

10 (Whereupon, the foregoing matter went off
11 the record at 2:00 p.m. and went back on
12 the record at 2:03 p.m.)

13 CHAIRMAN RYAN: Thank you.

14 MEMBER HINZE: Thank you very much, John.

15 11) UPDATED EPRI RESPONSE ON

16 POTENTIAL IGNEOUS EVENT AT YUCCA MOUNTAIN

17 MEMBER HINZE: With a brief background on
18 this presentation, the Electric Power Research
19 Institute prepared documents in 2004 and 2005 on the
20 extrusive and intrusive igneous activity scenarios.
21 These have been reviewed and in a report that has been
22 released by the Center for Nuclear Waste Regulatory
23 Analysis.

24 And we have EPRI requesting that they give
25 an updated response on that in answer to that review

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 paper by the center. Professor Morrissey from
2 Colorado School of Mines, a consultant to EPRI, as I
3 understand it, will be making the presentation.

4 Please?

5 MS. MORRISSEY: Thank you in giving us an
6 opportunity to respond to NRC's review of our work.
7 I want to acknowledge a few of my collaborators on
8 this igneous consequence analysis. The outline of the
9 presentation follows the outline of the sections from
10 the NRC review. And so I will go over each one of
11 these, discussing some of the issues and the comments,
12 and hopefully to clarify the concerns that NRC has
13 with our work.

14 To start off with, the NRC reviewers
15 stated that EPRI asserts that the magma at the tip of
16 the ascending column -- as we go along, I am assuming
17 that you have read our reports or understand about the
18 magma coming up through the Earth and you will get the
19 gist of this as I go through it. So NRC's review
20 states that EPRI asserts that the magma at the tip of
21 the ascending column just prior to and at the point of
22 intersection with a drift will be degassed.

23 And EPRI concludes that the intruding
24 magma will be at a relatively low temperature, 975 to
25 1010 degrees C with a high viscosity of 10^5 to 10^7

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pascal seconds and rheology characteristic of an aa
2 flow. And these suppositions appear to be
3 inconsistent with the fundamental physics of
4 volatile-rich magma ascent.

5 Well, EPRI's igneous scenario is a
6 conceptual model that continues to evolve as we learn
7 more about what happened at Yucca Mountain. It's
8 based on observations made in the field and on
9 well-accepted theory of basaltic volcanism, which we
10 adapt to what we see and what we understand at Yucca
11 Mountain.

12 Like all stakeholders, EPRI believes that
13 Lathrop Wells is the best analog for future volcanism
14 at Yucca Mountain in the next million years. And,
15 with that said, we use a lot of the data that DOE has
16 published regarding the physical volcanology and the
17 geochemistry at Lathrop Wells and other quaternary
18 volcanoes in the area. And our eruption sequence that
19 we anticipate follows that at Lathrop Wells. And this
20 is based on Valentine and others' work in 2005, which
21 is an update from previous DOE work on their
22 conceptual model and physical volcanology.

23 Initially we expect fissure eruption with
24 lava fountains, Strombolian events that form the lower
25 part of this cinder cone here at Lathrop Wells. This

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is followed by or happening concurrently while the
2 Strombolian event is happening.

3 Are these lava flows that come out the
4 northern end? This is followed by a tephra ejection,
5 continuous tephra ejection that forms the later of the
6 upward part of the cone and produces the tephra
7 fallout deposits that we see around Lathrop Wells.
8 And concurrently there are also additional lava flows
9 coming out the southern end of it.

10 So we have these four different stages in
11 different types of lava, Strombolian eruption,
12 different types of magma coming out of the Earth. And
13 we use this to infer what we think might happen at the
14 repository level when a dike intersects the drift, the
15 repository, and what we expect to happen when that
16 magma comes up and intersects with the drift.

17 So we look at the style of eruption at the
18 surface. We bring it back down into the column, into
19 the magma column in the dike. And we look at the
20 rheology that is associated with that eruption style.

21 So to focus back on why we said we expect
22 degassed magma at the tip of the magma column, well,
23 we look at the initial stage of magma rising through
24 the crust. And we use the model. We adapt the model
25 by Lister and Kerr. And this was what was discussed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in the final report for the igneous consequence panel.

2 And what was discussed by Alan Rubin there
3 was a dike propagating up, leading with a crack tip.
4 This crack tip is a void that is under vacuum,
5 essentially zero pressure, very, very low pressure,
6 relative to the magma-filled dike below.

7 But it is also connected to the magma
8 column. So if you look at the solubility diagram of
9 water in basaltic magma -- and this is taken out of
10 the Detournay and others, the igneous consequent
11 review panel final report -- it shows water solubility
12 as a function of pressure or depth. We can relate
13 pressure and depth together. And this is for basaltic
14 magma containing 3.7 weight percent.

15 This is what Frank Perry used. It's a
16 little bit lower than what is expected at the higher
17 end for water in basalts at Lathrop Wells or at Yucca
18 Mountain.

19 So, as you can see in this diagram, at 100
20 megapascals, you get the 3.7 weight percent water in
21 basalt. And as it moves up through the Earth or lower
22 pressure, it decompresses and it releases that water.
23 So if you look when it's really, really low pressure,
24 there is no water remaining in the magma. Okay? And
25 so at the tip, we expect it to be when it's depleted

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with water at the very tip here connected to the crack
2 tip.

3 We are not saying that all this magma here
4 is crystallized, depleted. We are just saying that
5 the magma itself will be depleted in water because
6 based on solubility laws, that is what we expect.

7 We also expect because of the rheology,
8 the first part of an eruption at Lathrop Wells, we see
9 Strombolian activity. We see fire fountains. We
10 expect bubbles to be there, a lot of gas at the top,
11 but the magma that is around those bubbles will be
12 depleted in water. So that is where we said that.

13 So here is our conceptual model of what we
14 expect the magma in the dike to look like with depth.
15 Okay? This is based on if you have magma rising with
16 3.7 or 4.5 weight percent water, as it's rising
17 through the Earth, as you can see by this diagram, it
18 starts to release water.

19 So as that water is released, you start to
20 nucleate bubbles. And those bubbles will start to
21 grow because they are in a very low-viscosity magma at
22 these depths. Okay?

23 And as they rise, they start coalescing to
24 form these different flow regimes that volcanologists
25 have all more or less established as being the flow

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 regimes that produce lava fountaining, these annular
2 flows, which is these large bubbles surrounded by
3 magma.

4 So this is like a dispersed flow that's
5 coming up. Below that, we have these slug flows. So
6 you start to nucleate bubbles at the bottom. Okay?
7 It's rising up.

8 Those bubbles are able to rise through the
9 magma and grow and coalesce and form these slugs,
10 these annular flows. And you get these different
11 eruption styles once the magma makes it to the
12 surface, right next to the surface.

13 So here we expect the viscosity of the
14 magma as it is rising from the source depth to be
15 around between the order of magnitude of 10 to 100, so
16 right about 40 pascal seconds based on this diagram,
17 which is from Maurass and McBirney for a crystal-free
18 magma at various temperatures but containing water.
19 Okay? So if we assume the maximum water that is
20 measured for Lathrop Wells magmas, we have a 4.6
21 weight percent water.

22 So down here at, say, 1,000 degrees C, our
23 viscosity initially will be about 40 pascal seconds.
24 And as the magma rises through this surface through
25 the cracks, back here you will notice that it starts

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to exsolve water. Okay? And as that water is
2 released from the magma, the viscosity will start to
3 increase with depth as it's rising through the
4 surface. Okay?

5 So we expect the magma initially here will
6 have a viscosity around 40 pascal seconds to about a
7 little over 100 as it's rising and it's from these
8 bubbles. Okay?

9 So what I show here is -- jump to the next
10 slide -- this model requires it to be a low-viscosity
11 magma for the bubbles to coalesce. And this is a
12 diagram from Vergnolle and Jaupart in 1986. And it
13 talks about bubbles and viscosity and bubbles that can
14 grow in a low-viscosity melt and bubbles that grow in
15 a high-viscosity melt but cannot ascend.

16 So this is a bubble rise velocity versus
17 bubble diameter. And these are viscosity lines.
18 These blocks here, those are just observations made
19 for dissidic magmas and basaltic magmas at certain
20 volcanoes. But what we are interested in here is
21 these low viscosities that we're talking about for
22 this, for the magma coming to the surface, for bubbles
23 to grow, nucleate, grow, and coalesce to form these
24 slug flows that have been interpreted as the way
25 Strombolian eruptions occur and lava fountaining

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 occurs.

2 So initially we require that this be a low
3 viscosity. And that is based on the volatile
4 composition, but as you get to the surface down below,
5 you are degassing the magma, this column of magma. So
6 you are starting to crystallize, too, the magma below,
7 which is how we transition into an aa flow.

8 So initially we have the lava fountaining,
9 and then we have the Strombolian eruption and followed
10 by a period of lava flows. And that is more or less
11 degassed lava.

12 And if we back up to the solubility
13 diagram, what we expect to see at repository depths is
14 a magma that contains less water than it did
15 originally. So we can say it relatively depleted.

16 So at repository depths, the water that is
17 going to be contained in the magma still would be up
18 to one weight percent or less. Okay? And that is
19 what we define as a relatively depleted compared to
20 what you see that source in there that is coming up
21 and releasing. Okay?

22 The viscosities for -- I have a slide
23 here. Initially we expect viscosities for the initial
24 part of the eruption for lava fountaining and
25 Strombolian activity to be 10 to 10² pascal seconds.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Again, the violent Strombolian eruptions based on the
2 physical volcanology that Valentine and others
3 described in their paper, this material is very
4 crystalline-rich.

5 And even in their paper, they say that
6 this magma will have a higher viscosity than earlier
7 magmas to obtain such fine tephra, such fine
8 fragmentation. So if you account for the smaller size
9 bubbles and the crystals in it, you raise the
10 viscosity up by an order of magnitude or two.

11 So we believe this is a fairly reasonable
12 viscosity for the Strombolian event, but when it comes
13 to the aa flows, the lava flows that come out, the
14 viscosity is a range between 10^3 and 10^6 . And that is
15 based on if you do not account for the crystals in the
16 magma at, say, a low pressure at the repository level,
17 your viscosity initially will be around 10^3 , 10^2 , 10^3 .
18 You bring in some bubbles. And you bring in the
19 crystal. And you start to crystallize the material.
20 You start to go up this curve here, which is based on
21 the Roscoe-Einstein equation, which is viscosity as a
22 function of crystallization.

23 So as you start to crystallize the magma,
24 you are going to start to raise its viscosity. So
25 this is a reasonable range for viscosities of lava

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that is coming out. This is before it starts to
2 really get crystallized and it stops.

3 Once it stops flowing and it is starting
4 to cool, then we go to the lower curve, which is for
5 solidifying magma. And the viscosities really go up
6 exponentially to several orders of magnitude.

7 So our expected model, then, of what we
8 expect the magma-drift interactions to be, we look at
9 it more of a three-dimensional picture, as opposed to
10 this 2D picture back here, where we are just
11 considering this part in the more active part of the
12 dike system that eventually forms the conduit system
13 because, as we have all heard, the transition from a
14 fissure eruption to a conduit eruption occurs because
15 you start to cool down and freeze the thinner parts of
16 the fissure. Okay? So they come to a thermal -- they
17 are thermally arrested, so to speak.

18 So if we account for that, so say this,
19 the widest part of the dike would go back to what we
20 envision here in our model. We start off with an
21 annular flow regime to a slug flow regime to this foam
22 crystalline regime down to a bubbly flow. And that's
23 what we envision here.

24 So if a dike intersects the drifts, the
25 drifts that intersect this part of the dike, we expect

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to have the spatter, bombs, and ruptured products that
2 we see at the surface to be similar to the lava
3 fountaining and Strombolian.

4 So we get packages coated with spatter and
5 bomb material, parts that are intersected by the side,
6 where we get more crystalline, cooling magma that is
7 representative of like an aa flow. We get aa flows
8 that once you decompress it rapidly, you are releasing
9 any volatiles in there which will induce quenched
10 crystallization, which rapidly crystallize and
11 increase the viscosity again to slow down these flows.
12 And they won't go -- we anticipate that they won't
13 fill up or won't go down the drift that far.

14 Now, in this, the third type of drift, we
15 are on the edge of the thin dike, where it is more or
16 less cooled and crystallized. So it's very, very
17 viscous, kind of a chilled lava plug.

18 So we are envisioning these drifts to be
19 plugged up by lava, this very crystalline mush. In a
20 later stage, as the eruption continues, the magma
21 continues to come up, well, the drift that was plugged
22 before us remains plugged.

23 The drift that had some partially filled
24 with aa, it has additional aa flow coming through.
25 But because we have a narrower -- the drift is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 partially filled, we have less volume to fill. So
2 that is going to chill up quickly, fill up quickly.
3 And down here we are anticipating like the tephra, the
4 fragmented material coming in.

5 So we are looking at this as not just a
6 uniform lava flow that is low viscosity filling up the
7 drifts and moving it through as envisioned by NRC. We
8 are thinking about it in more realistic capacity of
9 what we understand about dikes and when they
10 transitioned to conduits and what would happen if such
11 a system did actually come through the repository and
12 emplacement drifts.

13 So our model is continually evolving based
14 on what we are learning from the physical volcanology
15 at Lathrop Wells, our understanding of dike systems
16 and conduit systems and how magma tends to release its
17 volatiles and crystallize.

18 And so we think this is more consistent
19 with the fundamental physics of a volatile-rich magma
20 ascending to the surface than what has been proposed
21 by Woods and others, who assume a constant viscosity
22 of 10^2 pascal seconds and filling all the emplacement
23 drifts.

24 So the next section is on heat loss. The
25 NRC reviewers state that EPRI concludes that the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 physical property of magma entering the drift is
2 similar to a lava erupting at the surface. EPRI's
3 conceptual model entering a drift is derived from
4 inappropriate analogy to the cooling of degassed
5 basalt lava flows at the Earth's surface.

6 And here are some of the inappropriate
7 analogs that NRC stated, that EPRI cites descriptions
8 on intact cars, gas tanks, and water tanks entrained
9 in lava flows from the igneous consequence review
10 panel.

11 But if you check page 30, they state that
12 Hawaiian lava flows tend to burn non-metallic
13 materials and there is very little what they call
14 dismemberment of metallic materials. And if you
15 participated or attended any of the igneous review
16 panel workshops, Larry Mastin did this section. And
17 he showed some wonderful pictures of cars and lava
18 flows that were really untouched. And so talking to
19 him, that was part of this whole section here.

20 Then EPRI cites Lore and others as a basis
21 for their assertion that radiative cooling dominates
22 at the surface of the magma flow into the drift and
23 conductive heating at its base.

24 Well, in reality, what EPRI said was "We
25 recognize that the Lore curves show radiative cooling

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 at the top being dominant in the curves, and the basal
2 curve in their calculation was solely conductive
3 heating." And we said that we used the basal
4 temperature curve for conductive cooling that EPRI
5 asserts will be one of the dominant modes of heat
6 transfer. We never said that radiative cooling is the
7 dominant mode of cooling inside a drift. We never
8 said that.

9 Okay. So here are some examples of
10 chilled lava flows. Even in NRC's review, they say
11 that the chilled lava that forms is a good insulator
12 and it does form, in fact. Okay? So here are some
13 good examples.

14 Here is something that Bruce Marsh
15 included in one of his presentations of a crucible
16 that was dumped in molten magma pulled out. And you
17 can see how a chilled margin forms along that cold
18 container.

19 So looking at aa lava flows, the lava
20 flows that we expect to occur at Yucca Mountain and
21 expect to fill the drifts and all, we look at the
22 quaternary lavas. They are characteristic of aa lava
23 flows. They are very short in length, less than two
24 kilometers. Okay?

25 Here is a picture of an aa lava flow.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 They form levees. Okay? And in the interior is where
2 the lava is hottest. On the margins, you see these
3 fairly thick crystal, chilled margins occurring.

4 Here is the Lore and other curves. And it
5 shows that when they put all of the various modes of
6 heat transfer, when magma contacts a cold substrate,
7 the temperature becomes the average of the two
8 materials. And you can see it drops it to about 700
9 degrees C. Okay?

10 Here if you consider a radiated coolant
11 the surface, it drops it way down. We do not consider
12 this. We consider conduction. Okay?

13 And so when you look at the characteristic
14 of aa lava flows, the basal crust forms by the
15 overriding clinkers that form. And it's like a
16 tractor, a Caterpillar tractor. It moves, and it's
17 continually moving and bringing the top crust down to
18 the bottom. And it's moving over.

19 At the same time, the main mode of heat
20 transfer at the front and the base of it is forced
21 convection and conduction with the contact temperature
22 being around 700. This also considers conduction and
23 convection. I said just convection. It's conductive
24 and convective heat transfer. Okay?

25 And another thing, this is Cas and Wright,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 but this was also -- the citation is Pinkerton and
2 Sparks. And it discusses how when a magma has like
3 about one weight percent water. When it decompresses,
4 you rapidly under-cool it, which causes, induces
5 quenched crystallization. Okay? And you get this
6 rapid increase in viscosity and development of high
7 yield strength. And it explains some of what you see
8 with aa flows. Okay?

9 So these chilled margins are very
10 characteristic. They form rapidly. And to get an aa
11 flow to move far, you need to destabilize the toe.
12 And many toes it is the case when you reach a slope
13 and gravity forces it to fall apart, well, in the
14 drifts, we are not going to have gravity playing a
15 role in it. Okay? It's a horizontal tube.

16 So what is the likelihood that a flow in
17 a drift will -- another concern of NRC's was, what is
18 the likelihood that a flow in a drift will melt the
19 existing chilled crust? Well, from the examples, we
20 know that when lava contains a cooled surface, it is
21 going to create a chilled margin. Okay? We see that
22 with all lava flows.

23 NRC's concern was that when additional
24 lava flows move through, they will heat up and remelt
25 the chilled margin, which is what we say will protect

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and tune the waste package.

2 Well, if we look at eruption discharge
3 rates that control small-volume aa flows, here is a
4 curve of the mean discharge rate as a function of
5 final flow length for single lava flows. These are
6 for Etna, Kilauea, Mauna Loa collected over the years.
7 And you see these short flows have the mean discharge
8 rate of less than .1 cubic meters per second.

9 If you consider that flowing into a drift,
10 then you account for the diameter is going to be
11 what's left if you subtract the waste package out,
12 1.6. So the velocities that we expect for these flows
13 are very, very low.

14 And if you look at the -- this is a curve.
15 These curves are temperature as a function of distance
16 in a dike that is two meters wide. And it accounts
17 for convection and conduction in the dike.

18 And, as you can see, very low, low
19 velocities will allow that boundary layer to occur.
20 It won't remelt. It's not hot out because you need
21 invective. You need lateral convection to bring the
22 heat from the center of the flow to the side of the
23 flow. These flows are not going to be that high.

24 This mixing cup temperature up here shows
25 if a magma comes into a dike at 1,200 degrees C and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 its velocity is 2.7 or greater, then you are going to
2 remain at the boundary at this very high temperature.
3 Okay?

4 So this curve is indicating that there is
5 not enough heat transfer to melt the chilled margin.
6 So you are going to have a boundary layer forming for
7 these very low-velocity flows. So we still believe
8 that we are not going to be melting back this
9 protected chilled layer.

10 So lava flows inside a drift will be
11 slow-moving, much less than ten meters per second,
12 which NRC used in their 2002 report in the aa model.
13 And they are crystallizing flows because they will be
14 decompressing from ten megapascal to the atmosphere,
15 very low pressure expected inside a drift.

16 Additional flows entering a drift will not
17 melt any lava or chilled lava inside the drift on
18 waste packages. Slow-moving flows will lose heat
19 faster. Thus, the viscosity will increase,
20 terminating the flow earlier than less viscous melts,
21 as suggested by NRC.

22 So now turning to the in-drift thermal
23 calculation that EPRI did, NRC listed eight
24 deficiencies in EPRI's model approach. And it
25 included unsupported assertions that the magma extends

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 20 meters into the drift, that laminar and turbulent
2 flow -- they did not state whether it was the magma or
3 the water -- and convective heat transfer as a viable,
4 but that is included in the model. And phase change
5 or solidification wasn't included. But I am not sure
6 what they were discussing, whether they were talking
7 about magma or hydrous phases.

8 Well, the intent of EPRI's approach was --
9 and here, as we stated on page 19 of our report in
10 2005 -- that EPRI opted not to initiate an integrated
11 analysis or about magma coming in and emplacing. We
12 were more or less doing a similar approach that DOE
13 did in 2003, but we did it with updated data on
14 basaltic magma, the lower temperatures and then
15 temperature curves that we had from Lore and others.
16 And we also accounted for porosity of the wall rock,
17 fractures in the basalt. Okay?

18 So, in other words, the in-drift
19 calculation performed by EPRI reanalyzed that the
20 thermal effects of the liquid water vapor phase inside
21 a drift on the waste packages and in the wall after
22 emplacement and solidification of the magma.

23 So this was our intrusive scenario. After
24 the magma was intruded into the repository drifts, it
25 accounted for after emplacement what would happen to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the waste packages after the magma intruded. So we
2 account for direct contact with the waste package of
3 magma and then indirect contact, the blue and green
4 zones.

5 The blue zone accounts for the thermal
6 impact, the ones that are really close to the magma.
7 It is going to experience a lot of heat coming off
8 that magma. Okay? And further away we account for
9 the volatiles that come off the magma in this enclosed
10 drift.

11 So this calculation did account for
12 convective and conductive heat transfer of water, both
13 liquid and steam, below the critical temperature. It
14 did account for above the critical temperature but
15 only in conductive heat transfer. It accounted for
16 fracture network in the solidified basalt to account
17 for any leakage or once it cooled, does water permeate
18 through?

19 We use the temperature curve, the basal
20 curve, the conductive and convective temperature curve
21 from Lore and others. And then that was at 1,200
22 degrees C. So we still used a higher temperature for
23 that, too. So it was more of a conservative approach
24 than in the extrusive. So then we also considered
25 realistic boundary conditions and initial conditions.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So here is a schematic of what the
2 computational domain looked like. So you had a
3 closed, porous, and we had the tough rock. We had the
4 waste packages lined up. And we had water coming off
5 magma.

6 MEMBER HINZE: I am having a hard time
7 reading those. Could you --

8 MS. MORRISSEY: This one? This is rock.
9 This says, "Drift." And this says, "Magma." So this
10 is the magma. So essentially this box here if you
11 just --

12 MEMBER HINZE: Okay.

13 MS. MORRISSEY: Right there. That was the
14 analysis.

15 MEMBER HINZE: That writing below the
16 drift there, it looks like it is on my --

17 MS. MORRISSEY: What's that?

18 MEMBER HINZE: Beneath the word "Drift"
19 within the --

20 MS. MORRISSEY: "Rock."

21 MEMBER HINZE: "Rock." Okay.

22 MS. MORRISSEY: "Rock" again. Yes.

23 Okay. So essentially a lot of NRC's
24 concerns I think are because we use words like
25 "emplacement" of the magma. Well, this is after the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 emplacement of the magma. So this is after things
2 have settled down. Nothing is moving, like the magma
3 has started to solidify. What happens after that?
4 And so this is something that DOE did.

5 So a lot of the deficiencies that NRC
6 listed must be really a misunderstanding of the
7 problem, the approach to the problem. So they offered
8 a lot of good ideas for a type of calculation that
9 could be done if you want to look between what happens
10 during emplacement of lava and the waste packages.
11 But we don't feel that is necessary at this time.

12 So now we are going to the issues in the
13 magma dynamics section. The first was nozzle
14 geometry. NRC states that the geometric condition of
15 the dike-drift in the work we did on magmatic material
16 coming into a drift, they said it cannot be adequately
17 modeled as a nozzle flow problem. And no rationale is
18 provided to explain the significance of this
19 divergence. This divergence is right here.

20 Well, what we did in our 2004 report was
21 to analyze the work in the Woods and all model. And
22 our rationale for this converging/diverging nozzle was
23 based on their configuration of their work.

24 So the rationale is we were redoing their
25 work but in a two-dimensional form. They did the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 dike, the dike-drift interaction. Their dike, it was
2 a one-dimensional model where they accounted for the
3 vertical flow of the dike into the drift by accounting
4 for gravity. What we did, we did it to the actual 2D
5 model of the same problem. Okay? So our nozzle is
6 based on their concept.

7 And the rationale for nozzles in magmatic
8 systems is based on what we see in the field. Pollard
9 and Delaney studied dikes throughout the Southwest.
10 And they found that they pinch and swell. So that's
11 the rationale for doing a nozzle-type approach.

12 Sue Kieffer, my adviser who is on the
13 National Academy, did a classic paper on geologic
14 nozzles in many different geological environments.
15 And one was Mount St. Helens. One is Old Faithful.
16 And the other one is hydrologic jumps in the Colorado
17 River. Okay? So diverging/converging nozzles are
18 well-modeled and have been used quite extensively in
19 geological environments and in volcanoes.

20 Here is another piece of work that I did.
21 I am going to show you how this is applicable to this
22 right here. This is work I did on my Ph.D. It was
23 trying to understand long-period seismicity.

24 What triggers long-period seismicity in
25 volcanoes, you have a crack. You have a converging

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 nozzle. And you push steam through there. You have
2 steam flowing through here. Okay?

3 It gets to this point of
4 divergence/convergence. It chokes. And you set up a
5 supersonic flow here. And downstream is sonic. And
6 you set up this, as I will show you later, pressure
7 step.

8 And so if you fluctuate this pressure step
9 by fluctuating the outlet pressure, you can cause
10 long-period seismicity. So this is a numerical model
11 that was strictly steam flowing through this diverging
12 nozzle. Okay? And you will understand why I am
13 showing this later.

14 Going back to some of the issues that NRC
15 had with using a multi-phase flow and initial
16 conditions, NRC asserts that EPRI's flow does not
17 appear to be consistent with fundamental physical and
18 chemical processes of volcanic eruptions.

19 Well, a fluid containing a high-pressure
20 gas is treated as compressible. So if you have
21 high-pressure gas and it is in a conduit, you have to
22 consider the compressibility of it. Okay? The
23 physics of a compressible fluid is either a pure gas
24 or gas and particle mixture. And it will behave
25 similarly.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 This particle mixture will behave
2 similarly to a pure gas with the only difference being
3 the sound speed, the rate of change in the flow
4 properties and the magnitude.

5 So there have been many fluid dynamic
6 models that use this approach of multi-phase. It's
7 called pseudo-gas, where you mix fine grain particles
8 with a gas. And if you do a piercing, it is all
9 steam. The sound speed is about 900 meters per
10 second.

11 But if you start adding particles to it,
12 you start dropping the sound speed. It becomes less
13 compressible. Okay? So the only difference is your
14 Mach number goes up and your pressure ratio goes up.
15 And I will show you that later.

16 But with the Woods and other model, they
17 use a homogenous flow, which contains magma, gas, and
18 bubbles. But these bubbles and gas in the magma do
19 not separate. Same thing in a pseudo-gas is the
20 particles and the gas do not separate. So you are
21 treating the fluid as more or less like a single
22 phase. Okay?

23 And the main difference between these two
24 approaches is the heat transfer and the mass transfer
25 coupling relationships. Okay? So the main difference

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is we used a pure gas, pure steam in our calculations.

2 If we added particles to simulate a
3 pyroclastic flow type fragmentation of the magma,
4 there is little difference in the physics. The main
5 difference shows up in the magnitude of the pressure
6 and some of the rates. But the physics is essentially
7 the same.

8 Here is the result from the Woods and all
9 model, the one-dimensional model. What you see here
10 is the flow into the drift from that narrow
11 constriction of their model. Okay? So this is not
12 the dike. This is the fluid entering the drift from
13 the dike. Okay?

14 So their model accounts for magma and gas
15 exsolving with time, with pressure. Okay? But it's
16 a homogenous flow. And it's a closed system. Okay.
17 So you're funneling this fluid in there that's
18 compressible. Okay? And what you're doing is because
19 it's a closed system, you are essentially filling it
20 up with fluid. So it's pressurizing by itself.

21 The shockwaves you see here, I'm going to
22 move on to this slide right now. If you inject a
23 high-pressure fluid into air, you are going to send
24 that initial shockwave. That is what you see here.

25 So this is an air shock moving through the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 air ahead of the fluid. So the fluid finally -- down
2 here you don't see it. The fluid finally that's
3 moving through the dike reaches the end. The fluid
4 finally reaches the end. The air shock is now moving
5 through the magmatic fluid. But what is happening
6 here is you get a supersonic flow. You have got a
7 shock, a normal shock, here. This is all subsonic.

8 And you have got this little shockwave
9 moving ahead that was moving ahead initially
10 reflecting back and forth. And it just increases the
11 pressure in the fluid just by little steps, not orders
12 of magnitude, like they say in their paper. What is
13 increasing this from essentially zero to ten
14 megapascal is just you are filling it up with steam.

15 Over here the reason I showed you this is
16 this is the Woods and all approach with using this
17 homogenous fluid. Well, over here, what I did in my
18 dissertation was the same what I showed back here, the
19 same setup.

20 Woods and all, they're showing the
21 pressure from here right along the streamline here,
22 right in the center part of the flow. That is their
23 one-dimensional calculation. Okay. So it's in this
24 box here.

25 What I am going to show you is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 two-dimensional right through here, steam through the
2 same nozzle. So this is a single phase versus their
3 homogenous flow. And so this is the flow field along
4 the wall. This is through the inlet. Okay?

5 And what we did here is we initially let
6 the initial conditions -- we achieve steady state
7 conditions here. These are non-steady state. Okay?
8 So at these different pressure ratios, we get an
9 initial shock. Okay?

10 This is a normal shock forming. And then
11 you get subsonic flow further down. You get this nice
12 pressure gradient. And, as you increase, as you lower
13 the pressure, you can move that shock front further
14 down. So you lower, lower the pressure. And you can
15 move that shock front down. But then as you increase
16 the pressure, you can also bring it back to the point
17 where it is no longer there.

18 So what I am showing here is essentially
19 the same physics going on in a single phase
20 calculation versus their homogenous flow. So there is
21 no difference in the physics between these two models.
22 Okay? The physics are the same.

23 So the work that EPRI did on the numerical
24 model, this is really dark -- it is very light on my
25 screen -- does use steam going into air. So these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 calculations, more or less the physics are the exact
2 same as what they did in Woods and all. So we feel
3 that the physical and the chemical processes that we
4 have used in the multi-phase flow exactly the same as
5 what you expect in homogenous flow.

6 So there is nothing wrong with what we did
7 in our calculations. Our calculations essentially
8 show what would happen when you inject a high pressure
9 fluid into a horizontal drift. And what you see is
10 you get this vertical momentum coming up and you get
11 the fluid deflecting off the drift roof.

12 You get this pressure concentration, which
13 if we had an elastic medium here, it would show a
14 crack opening up and moving up because this pressure
15 here is about -- it's over five megapascal. So that's
16 enough to hydrofract the rock and favor the
17 continuation of the dike moving up.

18 And essentially it's a closed system.
19 It's a closed drift. On one side, we have the waste
20 packages. The other side is empty. This just shows
21 --

22 (Whereupon, the foregoing matter went off
23 the record briefly.)

24 MS. MORRISSEY: The figure on the right
25 would be we accounted for a crack. And it just shows

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 how you can alleviate some of the pressure building up
2 inside the drift because the Woods and all model, it's
3 a closed system essentially. There is no
4 permeability. There are no refractures. And so this
5 other calculation just shows what would happen if you
6 -- yes.

7 Then, in summary --

8 MR. GILLESPIE: We are up and running
9 again.

10 MS. MORRISSEY: Okay. So these are just
11 results from a couple of simulations we did, one with
12 closed system, just closed drift; and then one when we
13 put a little -- you know, the crack tip moving above
14 it. And so it quickly fills up. And it's moving up.
15 And it's relieving mass from the system.

16 So if you account for more sources of
17 relieving pressure from the drift, the pressures won't
18 build up as high as expected. Okay. You account for
19 the permeability in the fractures in the rock. It
20 will alleviate some of that pressure from the gas
21 moving through the drifts.

22 So, in summary, EPRI believes that the
23 conceptual model that we have derived and the analysis
24 conducted by EPRI since 2004 are based on observations
25 made routinely at volcanoes and on data from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 appropriate analogs of future Yucca Mountain
2 volcanism.

3 Contrary to the position put forward by
4 NRC and the consultants, EPRI's analyses are
5 consistent with fundamental physical and chemical
6 processes and EPRI's igneous consequences at Yucca
7 Mountain are indeed technically defensible.

8 So if there are any questions, anything
9 you would like me to explain?

10 MEMBER HINZE: I sense that we may have a
11 question or two, but first I want to thank you for a
12 very clear and informative presentation and thank
13 EPRI, too, for their contributions in this regard.

14 MS. MORRISSEY: Okay.

15 MEMBER HINZE: The way we will work this
16 is that we will ask the Committee for any questions.
17 And then we will move to those on the bridge. And
18 then we will open it up to the rest of the group.
19 Questions by the Committee? I'm passing on --

20 CHAIRMAN RYAN: No. Thank you.

21 MEMBER HINZE: Ruth?

22 MEMBER WEINER: This was an excellent
23 presentation. And it's a great deal to digest. Let
24 me just ask one. Is there any way in your calculation
25 that the magma moving out of the -- or hitting a waste

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 package could mechanically or some combination of
2 mechanically and thermally disrupt that package? Is
3 there some way to alter some of the calculations that
4 you did to show that? I would just like you to expand
5 on that a little bit.

6 MS. MORRISSEY: We did a calculation when
7 we considered -- let me go back, initial slide. Go
8 back. I'm almost there. Here.

9 MEMBER HINZE: For the benefit of those on
10 the bridge, we are looking at figure 6.

11 MS. MORRISSEY: Yes, figure 6. We did a
12 calculation in which we considered this scenario, the
13 impact of a waste package right where the dike
14 intersects. And those calculations, those mechanical
15 calculations showed it dented, but the canister never
16 failed. Okay?

17 Similar calculations could be performed,
18 but that hasn't been done.

19 MEMBER WEINER: Do you have any --

20 MS. MORRISSEY: We felt this was the most
21 direct impact, this was the most high-risk scenario.

22 MEMBER WEINER: Do you have any sense of
23 what that impact, either the impact speed of the magma
24 slug or the force on the package, would be to actually
25 disrupt it greater than what your calculations --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. MORRISSEY: We did a calculation of
2 100 meters per second. And that is pretty extreme.
3 And it deformed structurally and all, but it didn't
4 ever -- you know, the calculation showed a number of
5 them failed. So it was an extreme case that we felt.
6 So even 100 meters per second was pretty --

7 MEMBER WEINER: Thank you. That's all I
8 have right now.

9 MEMBER CLARKE: Thanks, Bill.

10 Maybe to ask Ruth's question another way,
11 what would have to happen to --

12 MS. MORRISSEY: What would have to happen?

13 MEMBER CLARKE: What would have to happen
14 to damage a package to the extent that you would have
15 premature corrosion or release or there would be
16 consequences?

17 MS. MORRISSEY: John Kessler when it comes
18 to corrosion issues, I think he is --

19 MR. KESSLER: Well, I am not an expert on
20 anything. John Kessler from EPRI. But I do happen to
21 have a look at what other people have done in our
22 work. That is Fraser King's area on the interaction
23 with the waste package.

24 For the igneous eruption scenario, which
25 is what Meghan just referred to, indeed we show that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the package dented, even at this 100-meter-per-second
2 magma jet essentially hitting right in the middle of
3 the waste package.

4 For the igneous intrusion scenario, which
5 was most of what Meghan was talking about with the
6 rubble moving down, indeed we do have waste package
7 failures that are due to thermal over-pressurization
8 concomitant with the reduction in the structural
9 properties of the metal as you increase in
10 temperature. Indeed we do have failure of the waste
11 packages under those conditions. And we do account
12 for those in our igneous intrusion scenario.

13 MEMBER CLARKE: That's helpful. Thank
14 you.

15 MEMBER WEINER: Could I ask a follow-up
16 question, then?

17 MEMBER HINZE: Into the microphone,
18 please.

19 MEMBER WEINER: Yes. Sorry.

20 MR. KESSLER: That's okay. I'll listen to
21 your head.

22 (Laughter.)

23 MEMBER WEINER: Okay. So in the intrusion
24 scenario, if you get an actual rupture of the waste
25 package, could you calculate or model what happens to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a fuel rod, what happens to the fuel pellets
2 themselves? Do you have any idea of what kind of
3 particles you could get out of that? I don't --

4 MR. KESSLER: We did that. That is in the
5 igneous eruption report. We made assumptions that
6 even -- we did a whole bunch of what I call -- and
7 even if we're wrong about, you know, what would happen
8 next, that is all in the igneous eruption report,
9 where we have a chapter on even if we do have a waste
10 package failure, how is it the magma would interact?

11 And if it did get to the waste particle,
12 to the UO₂ pellets, what would we expect to happen in
13 terms of what would actually get lifted up to the
14 surface? And even if that did happen, even though we
15 don't think it will very much, what will be the
16 particle sizes that we will get at the site boundary?

17 So we have all of those "even ifs." And
18 what we showed was that when we go through all of
19 those levels of conservatism, we can back-calculate if
20 you add in all of those conservatisms right back to
21 what DOE got for an answer. So that is in our igneous
22 eruption report.

23 MEMBER WEINER: So that when you do that,
24 you are basically repeating the DOE assumptions?

25 MR. KESSLER: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WEINER: Thank you.

2 MEMBER HINZE: With that, we will move to
3 the bridge. And I will ask John Stamatikos and his
4 group at the center if they have any questions or
5 comments.

6 MR. STAMATIKOS: Well, we have lots of
7 questions that we are not going to pursue at this
8 point, Bill. I just would comment that almost all of
9 Meghan's presentation, it looks like they're from
10 material that is in EPRI 2006, which no one has, and
11 that our review is on the prior two EPRI reports.

12 MS. MORRISSEY: Right. Like I say, our
13 work continues to evolve. And even in the 2004
14 report, it may not have been stated so clearly, but we
15 did discuss a lot of the rheology issues of magma and
16 what we expect as a sequence of, you know, drift
17 interactions.

18 So it's there, but it's not as clear as
19 2006 because, as you know, with time, everything gets
20 to be updated and issues get to be clarified.

21 MR. KESSLER: John Kessler, EPRI.

22 It's true, John. You didn't see that
23 latest work because it came out very late last year.
24 In fact, some of it we just attached to the letter to
25 ACNW as an appendix for a letter, even this year.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So, indeed, we have done some new work.
2 We will make that available to you if you haven't seen
3 it. We're happy for you to take a look at that and
4 look at that as well.

5 MR. STAMATIKOS: We haven't seen it. And
6 so we would be glad to take a look at it.

7 MEMBER HINZE: Do you have any further
8 comments or questions at this point, John?

9 MR. STAMATIKOS: No, nothing else from
10 here.

11 MEMBER HINZE: All right. Professor
12 Marsh?

13 MR. MARSH: Yes. Professor Hinze, thank
14 you very much. Thank you, Meghan, for an informative
15 presentation.

16 I just was curious overall what general
17 things -- in your slides and things you have quite a
18 number of references. Would it be possible that we
19 could actually get the bibliography on these?

20 MS. MORRISSEY: Absolutely, yes.

21 MR. MARSH: Okay. And the other thing, on
22 slide 14, for example, when you are talking about the
23 effect of magma on cars, gas tanks, et cetera, in
24 reference to this Detournay report and things, I
25 noticed in Detournay, *et al.*, they mention Thornberg,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a Carl Thornberg reference in 1993.

2 MS. MORRISSEY: Yes, yes.

3 MR. MARSH: But that reference, you know,
4 there is nothing in the bibliography. That reference
5 --

6 MS. MORRISSEY: Right. That was a
7 personal communication between Mastin and he. And he
8 gave me an "Oops." He said I should have put a
9 personal communication in there.

10 MR. MARSH: Okay. But Detournay, *et al.*,
11 they reference Thornberg 2003.

12 MS. MORRISSEY: That should have been a
13 personal communication after that.

14 MR. MARSH: Okay. And then you had some
15 personal communications with Larry Mastin, I guess,
16 here.

17 MS. MORRISSEY: Right, right.

18 MR. MARSH: Two thousand seven? If you
19 could detail that out a bit, that would be very
20 interesting, I think. I think it would be interesting
21 for all of us to see some sort of a compilation maybe
22 we can all contribute to to see some of these effects.
23 I think they would be educational for all of us.

24 MS. MORRISSEY: Oh, sure, sure, sure.

25 MR. MARSH: It seems like you're on top of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it a bit. And so it would be interesting. That --

2 MS. MORRISSEY: Yes. Larry gave me --
3 yes. He gave me quite a few references on that with
4 images and stuff from various volcanoes.

5 MR. MARSH: Okay. Thank you, Meghan.

6 MS. MORRISSEY: Sure.

7 MR. MARSH: That's all I have.

8 MS. MORRISSEY: Okay.

9 MEMBER HINZE: Okay. Thank you, Bruce.

10 Questions? Dr. Hill?

11 DR. HILL: Britt Hill, NRC staff. Can we
12 go back to slide 6, please? I would just like to
13 follow on with one of Dr. Weiner's questions. For the
14 analysis that was done for the volcanic disruption
15 scenario, what was the temperature of the waste
16 package in these mechanical analyses?

17 MS. MORRISSEY: That we used at the time,
18 1,200 degrees.

19 MR. KESSLER: No.

20 MS. MORRISSEY: For the mechanical ones in
21 --

22 MR. KESSLER: John Kessler, EPRI.

23 No, Britt. For that one, we assumed the
24 waste package was at the ambient temperature of the
25 drifts prior to interaction with the magma. So that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 had, for example, the mechanical properties of the
2 alloy-22 at what, 100 to 200 C., something like that,
3 rather than the much higher temperature mechanical
4 properties.

5 MS. MORRISSEY: I'm sorry. I
6 misunderstood.

7 DR. HILL: So what we have is apparently
8 a range of outcomes from taking a cold canister and
9 putting it into a conduit versus the intrusive
10 scenario, where the magma has been allowed to come in
11 contact with the waste package for a while. And then
12 there is a mechanical failure.

13 MS. MORRISSEY: Right.

14 DR. HILL: So I think it is pretty
15 important to understand that if a conduit opened
16 instantaneously and tried to entrain a waste package,
17 there may not be much significant damage, but if a
18 conduit opened progressively during the course of an
19 eruption, say, over a period of days to weeks, the
20 response of the waste package in the conduit may be
21 more like the intrusive scenario that EPRI analyzed,
22 rather than the volcanic scenario in that report.
23 Would that be a fair statement?

24 MR. KESSLER: John Kessler, EPRI.

25 I am not sure. I am trying to understand.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Part of the problem is we have these scenarios in
2 terms of what happens when and what progresses when
3 and what temperature the waste package was in.

4 I know the core of your question, Britt.
5 For the igneous eruption scenario, we made the
6 assumption that after the initial entry of the magma
7 into the drift that slams that waste package at 100
8 meters per second against the roof, that waste package
9 gets moved to the side.

10 And there is nothing more that is going to
11 make it out the eruption. If anything, it is going to
12 get shoved down the drifts and we'll worry about it
13 for the intrusive scenario. So that was conceptual
14 modeling assumptions we made specifically when we
15 looked at and separated out the igneous eruption case.

16 So in that case, for the igneous eruption,
17 we only looked at the case where the waste package in
18 that case was roughly at the temperature of the
19 repository prior to the dike coming into that very
20 initial contact with the drift.

21 Then for the intrusion scenario work, we
22 did indeed look at waste packages that came fully up
23 to the temperature of the magma.

24 DR. HILL: Okay. That again is an
25 important distinction when we try to compare different

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 scenarios, say, between the NRC scenario and the EPRI
2 scenario for the NRC's volcanic disruption scenario,
3 conduits, the volcanic feeder conduit, widened
4 progressively over the course of the eruption to tens
5 of meters in diameter. So they would be affecting
6 waste packages that had been exposed to magma during
7 the initial interaction, but the conduit itself
8 doesn't form until perhaps days later.

9 So that's the fundamental difference,
10 then, from the EPRI analysis, where there are volcanic
11 scenarios, looking at only the package affected by the
12 initial interaction.

13 MR. KESSLER: Interesting scenario. And
14 what is NRC's model that has this widening? How is it
15 widening?

16 DR. HILL: That is based on the rock
17 record in things like Valentine and Groves, 1996 and
18 Dubick and Hill, where you look at --

19 MR. KESSLER: Then answer my question very
20 carefully. Where do the waste packages go during the
21 widening?

22 DR. HILL: They behave like wall rock.

23 MR. KESSLER: So they sit there?

24 DR. HILL: The conduit is -- well, there
25 is not much room to move these around, especially if

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the drift has magma in it. And so as the conduit
2 widens and erodes the wall rock, it incorporates the
3 waste package in a similar manner to wall rock.

4 MR. KESSLER: Okay. Thank you.

5 DR. HILL: And, to complete that, the
6 basis for that is how we look at rock fragments coming
7 out in analogue eruptions. And you see this
8 progressive incorporation of rock through the course
9 of the eruption in the tephra deposits at real
10 volcanoes.

11 MEMBER HINZE: Further questions?

12 (No response.)

13 MEMBER HINZE: I want to apologize to the
14 Committee. We are overtime. I am going to take the
15 Chairman's privilege of just asking one question. And
16 I think that I was having a late-in-the-day moment.
17 On figure 27, did I hear you talk about a dog-leg
18 scenario?

19 MS. MORRISSEY: No. This is --

20 MEMBER HINZE: Pressure is such that you
21 would --

22 MS. MORRISSEY: Okay. No. No. I wasn't
23 talking about a dog-leg scenario. What I was talking
24 about here, this is the -- you know, again, back to
25 the Woods, *et al.*, model, where if you bring a dike,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 intersect to the drift, you know, it doesn't continue
2 up. The dike doesn't continue to propagate to the
3 surface. It stops. And everything shoots into the
4 drifts. Okay? And that is just this scenario.

5 This scenario shows you what would happen
6 if that dike in the early stages continued to the
7 surface. Okay? That's all it was.

8 MEMBER HINZE: Thank you very much.

9 I want to remind all of us that there is
10 a full transcript of Meghan's presentation. And the
11 ACNW will make that available just as soon as possible
12 to anyone that's interested. And with that, I turn it
13 back to you.

14 Thank you very much, Professor Morrissey.

15 CHAIRMAN RYAN: Bill, if you had any other
16 unaddressed questions, don't hesitate to add one or
17 two more if you like.

18 MEMBER HINZE: That's fine.

19 CHAIRMAN RYAN: Are you sure? All right.

20 With that, I thank you, Meghan, for your
21 presentation and thank everybody for the discussion.
22 We are scheduled for a 15-minute break. So we will
23 reconvene at 3:25.

24 (Whereupon, the foregoing open session
25 was concluded at 3:09 p.m.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701