

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Nuclear Waste
178th Meeting

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Wednesday, April 11, 2007

Work Order No.: NRC-1520

Pages 1-142

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON NUCLEAR WASTE (ACNW)

178th MEETING

+ + + + +

WEDNESDAY,

APRIL 11, 2007

+ + + + +

The meeting was convened in Room T-2B3
of Two White Flint North, 11545 Rockville Pike,
Rockville, Maryland, at 9:00 a.m., Dr. Michael T.
Ryan, Chairman, presiding.

MEMBERS PRESENT:

- MICHAEL T. RYAN Chair
- ALLEN G. CROFF Vice Chair
- JAMES H. CLARKE Member
- WILLIAM J. HINZE Member
- RUTH F. WEINER Member

1 NRC STAFF PRESENT:

2 BILL von TILL

3 MIKE FLIEGEL

4 KEITH McCONNELL

5 DEREK WIDMAYER

6 ANTONIO DIAS

7 ROBERT MECK

8 JOHN FLACK

9

10 ALSO PRESENT:

11 KATHRYN SNEAD (via telephone)

12 RAM BHAT (via telephone)

13 CARL GOGOLAK (via telephone)

14 JOSEPH COOK

15 DAN FEEHAN

16 (via telephone)

17 CHRIS KUNITZ

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A G E N D A

OPENING REMARKS BY THE ACNW CHAIRMAN 4

PATH FORWARD ON AN IN-SITU LEACH (ISL) RULEMAKING-

SUMMARY OF MEETINGS WITH EPA AND NMA - NEXT STEPS 5

BREAK

BRIEFING ON MARSAME MANUAL 59

LUNCH

SCOPE AND METHODOLOGY OF THE GOVERNMENT

ACCOUNTABILITY OFFICE (GAO)'S ONGOING REVIEW

OF THE GLOBAL NUCLEAR ENERGY PARTNERSHIP

(GNEP) EFFORT 90

ADJOURN

P R O C E E D I N G S

(9:02:02 a.m.)

1
2
3 VICE CHAIRMAN CROFF: If we could come to
4 order, please. This is the second day of the 178th
5 Meeting of the Advisory Committee on Nuclear Waste.
6 During today's meeting, the committee will consider
7 the following, the Path Forward On An In-situ leach
8 rule making, a Summary of Meetings with EPA and NMA,
9 a briefing on the MARSAME manual, the Scope and
10 Methodology of the Government Accountability Office
11 Ongoing Review of the Global Nuclear Energy
12 Partnership, Discussion of Draft ACNW Letter Reports.

13 The meeting is being conducted in
14 accordance with the provisions of the Federal Advisory
15 Committee Act. Latif Hamdan is the Designated Federal
16 Official for today's session. We have received no
17 written comments or requests for time to make oral
18 statements from members of the public regarding
19 today's sessions. Should anyone wish to address the
20 committee, please make your wishes known to one of the
21 committee staff. It is requested that speakers use
22 one of the microphones, identify themselves, and speak
23 with sufficient clarity and volume so that they can be
24 readily heard. It is also requested that if you have
25 cell phone, or pagers, kindly turn them off, or place

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on mute.

2 Thank you. Chairman Ryan will be joining
3 us shortly. He's otherwise occupied, so we're going
4 to proceed. We have the first session on In-situ
5 Leach Rulemaking. Dr. Weiner is the cognizant member.
6 Take it away, Ruth.

7 MEMBER WEINER: Thank you. And this
8 morning we have Bill von Till and Mike Fliegel from
9 the Staff, and Keith McConnell, who is with us, all of
10 them experts in this area, so we're looking forward to
11 what you have to say. And this is, I understand,
12 background information for the proposed technical
13 support for the proposed rule making. Have I got that
14 right? So without further ado, Bill, I believe you're
15 the first speaker.

16 MR. von TILL: Thank you, Ruth. Good
17 morning. My name is Bill von Till. Again, I'm the
18 Branch Chief for the Uranium Recovery Licensing
19 Branch. I'm also a hydrologist, and I'm well versed
20 in this subject matter.

21 We're here today to give the committee a
22 status of the ISL rule making effort. Sitting next to
23 me here is Dr. Myron Fliegel, the Project Manager for
24 the technical part of this effort. Also in the room
25 is Keith McConnell, the Deputy Director for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Decommissioning and Uranium Relicensing, and Kevin
2 Bouchet, who is the Branch Chief on the rule making
3 side of this effort. The Project Manager, Kevin is
4 back there. Thanks, Kevin.

5 MEMBER WEINER: Kevin, why don't you come
6 up and sit with the rest of the staff?

7 MR. von TILL: Kevin just started with
8 this group not too long ago. The Project Manager on
9 the rule making side of this effort is Gary Comfort,
10 who's on travel this week and couldn't join us today.

11 This is a very dynamic time in the Uranium
12 recovery arena. The price of Uranium continues to
13 climb, and is nearing \$100 a pound, due to the
14 worldwide demand for nuclear fuel. We've been
15 contacted by nine companies who are planning to submit
16 12 new applications for new Uranium mills over the
17 next few years, aged in-situ leach facilities, and for
18 conventional facilities. That number is very fluid,
19 and may decrease or increase over time.

20 It's fair to say that the method of choice
21 at this point forward is in-situ leach mining and
22 milling, where the milling and mining occur all in one
23 shot, so most of the applications, and most of the
24 worldwide production of Uranium mining and milling is
25 in-situ leach at this point. Some formations are not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 amenable to in-situ leaching, and they still use
2 conventional mining and milling. The NRC only
3 regulates the milling part of conventional aspect.
4 The mines for conventional, the NRC does not regulate.

5 The Commission has directed the staff to
6 draft a rule on the groundwater protection aspects of
7 this unique approach to Uranium mining and milling,
8 and we look forward to working with the committee on
9 this effort. With that, I'll turn it over to Mike
10 Fliegel, who will present the briefing this morning.

11 MR. FLIEGEL: Yes. I'm Mike Fliegel. I'm
12 Senior Project Manager. I work for Bill. If we can
13 have the next slide.

14 The purpose of our briefing is to provide
15 a basis for the rule making, provide some background
16 and history to the ACNW, background and history that
17 led to the rule making effort, and we'll discuss some
18 recent events, and next steps, including interactions
19 with ACNW.

20 Atomic Energy Section 84, and that was
21 added to the Atomic Energy Act by the Uranium Mill
22 Tailings Radiation Control Act, UMTRCA, of 1978, and
23 that requires that NRC ensure that 11e.(2) byproduct
24 material is managed in such a manner that it conforms
25 with standards promulgated by EPA. And 11e.(2)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 byproduct material, to refresh people's memory,
2 basically tailings and waste from the processing of
3 any, or for its Uranium or Thorium content, source
4 material content.

5 The standards that EPA was required to
6 write in conformance with UMTRCA appear in 40 CFR 192.
7 The NRC regulations that conform to the EPA's
8 regulations appear in 10 CFR Part 40 Appendix A. And
9 both sets of regulations focus on conventional mills,
10 because at the time that the regulations were written,
11 most Uranium milling was done in a conventional mill.
12 ISLs were new, they were experimental, and we really
13 didn't -- there just weren't enough. We were
14 concerned with conventional mills.

15 As a result, now that we have primarily
16 ISLs, we regulate ground water protection at ISLs
17 primarily through license conditions. We have
18 guidance that appears in NUREG-1569. We had initiated
19 a rule making covering all of Uranium recovery in
20 1999, the so-called Part 41, and that was discontinued
21 in 2001 due to the cost to the industry. At the time,
22 the price of Uranium was very low, and a few industry
23 participants, licensees who would have to pay -- we
24 would have to adjust their annual fees to pay for
25 that. And, instead, we updated the guidance and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 updated 1569.

2 In addition to getting a license from NRC,
3 an ISL operator has to get a permit from EPA, or an
4 EPA authorized state, and that's a permit under the
5 Underground Injection Control program that appears in
6 EPA's standards, and that comes out of the Safe
7 Drinking Water Act.

8 I apologize for this slide, but there's a
9 lot of information. The industry has complained about
10 the dual regulation for a number of years, the fact
11 that they have to get an NRC license, and also have to
12 get a permit from state, or from EPA under the
13 Underground Injection Control program, and the
14 Commission has directed the Staff to try and find a
15 way to eliminate some of that dual regulation by
16 deferring regulation of groundwater at ISLs to EPA, or
17 the EPA authorized state.

18 The Staff tried to develop MOUs with both
19 Wyoming and Nebraska, the two states that we have
20 active ISLs at to defer regulation to those states,
21 and the Staff met with the regulatory staff in both of
22 those states. The staff found, however, that there
23 was major difference between the way NRC is regulating
24 groundwater protection, and the way the states were
25 doing it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 NRC has, as a primary standard for
2 restoration of the groundwater in the mining zone
3 after the mining has been completed. Our standard is
4 restoration of that mining zone to background. By
5 "background", we mean what it is was before mining
6 commenced. If that's unachievable, we have a
7 secondary standard that looks to the state's class of
8 use standard.

9 Both of those states have regulations that
10 define various classes of use, and what standards for
11 constituents in those classes of use would be. The
12 states, however, both Nebraska and Wyoming go
13 initially to restoration to class of use.

14 The NRC - our methodology is in NUREG-
15 1569. And, actually, when we first initiated this
16 effort, Wyoming was regulating groundwater protection
17 in its state essentially the same way that NRC was,
18 but they have been challenged by the industry, and
19 their controlling legislation pointed to class of use,
20 it didn't point to restoration to background, so
21 Wyoming had to change its regulations. And so, we
22 determined that when we went out and met with them,
23 and that's when we came to the conclusion that we
24 weren't compatible, that we could not defer to a state
25 that didn't have the same primary standard.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 When this occurred, we wrote to the
2 Commission, and SECY 05-0123, and we discussed the
3 problems that we had, the fact that our regulations,
4 or our requirements, because they weren't in our
5 regulations, were more stringent than Wyoming and
6 Nebraska's, and we proposed preparing essentially an
7 Options Paper for the Commission.

8 The Commission, instead, went to OGC and
9 basically asked OGC to look in more detail about the
10 basis for Staff in its guidance, essentially looking
11 to restoring to background as the primary standard.
12 OGC traced that through UMTRCA and EPA's 40 CFR 192.
13 OGC also concluded that there may be a basis to look
14 to the underground injection control standards,
15 because in the preamble to EPA's standards in 40 CFR
16 192, they pointed to the UIC standards in the
17 discussion on ISLs. And those standards are less
18 restrictive.

19 Now the EPA standards, themselves, for the
20 underground injection control program appear in 40 CFR
21 144 and 146, 145 has to do with their dealing with
22 states on these standards. And, basically, what it
23 does is it exempts the actual mining zone. The basic
24 standard is protection of groundwater outside the
25 mining zone, and that is protecting the capability of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the water outside the mining zone to provide drinking
2 water. And there's really no requirement for
3 restoration inside the mining zone, other than that
4 water outside the mining zone has to be protected.

5 As an aside, both Wyoming and Nebraska are
6 EPA authorized states, and their regulations are more
7 restrictive in terms of the Underground Injection
8 Control program than EPA's, in that they require some
9 restoration in the mining zone, and that restoration
10 is class of use.

11 With that, and with the advice of OGC that
12 the Underground Injection Control program standards
13 may be the standards that we could use for groundwater
14 protection, the Commission directed the Staff to
15 proceed with the rule making. And it was to focus on
16 the elimination of groundwater protection at -- the
17 elimination of dual regulation of groundwater
18 protection at ISLs, and to do that by deferring
19 regulation to EPA or the states through their
20 Underground Injection Control programs, to actively
21 engage the stakeholders, and to have the proposed rule
22 to the Commission by January of 2007. And the rule
23 was specifically limited to groundwater protection at
24 ISLs. The staff had inquired about expanding the rule
25 making, and the Commission was clear that it was just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 groundwater protection at ISLs.

2 With that, the Staff proceeded to work on
3 an expedited schedule to prepare the rule making. We
4 had a public meeting in Denver last June, and we
5 worked on the rule, and we actually - we looked at
6 various strategies, and we concluded that what we
7 would do is we would create a new criterion in
8 Appendix A that addressed groundwater protection at
9 ISLs.

10 We have considered adding it to Criterion
11 5, which talks about groundwater protection in the
12 context of conventional mills, but felt that that
13 would just add too much to that criterion, and be too
14 confusing, so our strategy was to create a new
15 criterion in Appendix A. For lack of anything else,
16 we were calling it Criterion 14, but we may actually
17 fit it in someplace else. And the criterion will
18 address all aspects of groundwater protection. And we
19 had actually laid out what we were going to look at,
20 and we've got a list in this slide of the various
21 aspects that we were going to put in the actual rule.
22 And we actually drafted rule language, and that was -
23 the first draft was completed last September. It was
24 not made public, though, due to an issue raised by
25 EPA, which I'll get to in the next slide.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now in basing the rule on EPA's
2 underground injection control permit standards, one of
3 the things we realized was we had to get EPA on board
4 relatively quickly, because if you recall, one of the
5 requirements in the Atomic Energy Act, Section 84, was
6 that our regulations must comport with EPA's
7 standards, and we have to be sure that EPA agrees,
8 because there is language in there that essentially
9 says that EPA has to agree that we've done it
10 properly. So we wrote to EPA last June, basically
11 requesting a confirmation that the UIC regulations are
12 the appropriate standards to conform our regulations
13 to.

14 Well, in August, EPA wrote back to us, and
15 basically said that they were concerned with our
16 proposal, and they suggested that we hold discussions
17 with EPA before proceeding with the rule making
18 effort. Because of the tight schedule, we continued
19 and actually prepared a first draft in September, but
20 we met with EPA. We met with EPA twice last August,
21 and out of those meetings, two major concerns emerged.
22 One was that EPA considered that the UIC standards for
23 groundwater protection at ISLs are in addition to the
24 groundwater standards published in 40 CFR 192 that
25 also apply to groundwater protection at ISLs. So that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was a disconnect from the direction we were going.

2 And just to refresh people's memory, the
3 standards in 40 CFR 192 for groundwater clean-up, and
4 they're written primarily in the context of cleaning
5 up groundwater in a conventional mill site where you
6 have leakage from a disposal cell, but they look to
7 background, to drinking water standards, and to
8 alternate concentration limits.

9 The other EPA concern was that in those
10 states where they were primary; that is, where there
11 was not an EPA authorized state implementing the
12 Underground Injection Control program, and we don't
13 have any ISLs at such states now. There was a
14 potential for one in South Dakota, which is not an EPA
15 authorized state, but in those states, EPA expressed
16 concern about their ability to do a detailed review
17 for an Underground Injection Control permit request,
18 and they had said when they had thought about it, they
19 thought that they were going to look to NRC's review,
20 and use that to help them, because they were limited
21 in their staff resources, so they weren't looking to
22 have NRC defer its regulation to them. It's just a
23 resource problem.

24 With that, there were further meetings and
25 discussions between NRC and EPA in late 2006, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those meetings were primarily attorneys, because it
2 really was a -- the basic issue, what's the
3 appropriate EPA regulations and standards to use in
4 our rule making? That's primarily a legal issue, and
5 out of that came -- it was clear that EPA was firm in
6 their conclusion that you can't -- we can't just use
7 the UIC standards, it's UIC plus UMTRCA. But EPA
8 expressed willingness and desire, actually, to work
9 closely with NRC in the rule making process, and
10 they've been very helpful.

11 We had a Commission Technical Assistance
12 Briefing at the end of last November, where we
13 discussed the situation. And, basically, we were in
14 a position where we were supposed to have a proposed
15 rule to the Commission in January, and here we were,
16 and we couldn't do what the Commission told us to do,
17 because EPA said they essentially would challenge it.
18 And at that meeting, the technical assistance
19 suggested that we prepare a Commission memorandum
20 basically describing what had happened, and proposing
21 options. And we were in the process of preparing that
22 when -- and these things, they were informal
23 discussions up and down the line, and the Commission
24 decided that rather than wait to get a paper with
25 options, and then vote on it, and send us an SRM, we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 were directed in January basically to do what would
2 have been the preferred option in the Commission
3 memorandum; that is, to work with EPA and NMA, and try
4 and come up with a way to move forward. And that was
5 what the direction was, to meet with EPA and NMA,
6 National Mining Association, which is the industry
7 representative, and to report back to the Commission
8 on the path forward by April 30th.

9 Now the Staff met with EPA, and we had
10 four meetings in February and March. February 21st we
11 went down to EPA, and we had four EPA offices
12 involved, and a lot of staff, we had several of their
13 attorneys, and a couple of our attorneys involved. We
14 had later meetings that were more focused on technical
15 issues, on February 26th and March 12th, and we had a
16 more recent meeting, March 28th, after we met with
17 NMA. And we discussed both the flexibility that EPA
18 thought there may be in the standards in 40 CFR 192,
19 and that was trying to satisfy both the EPA conclusion
20 that we had to use as the underlying standard for
21 restoration, the 40 CFR 192 standard as background
22 drinking water standards and ACLs, and the industry
23 needs. So we were looking if there was some
24 flexibility in how that would be applied, and looking
25 for -- and we discussed EPA's collaboration in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 rule making effort.

2 On March 15th, we met with the National
3 Mining Association, and that meeting was a public
4 meeting, and EPA participated. We asked EPA to
5 participate, and EPA showed up in force. NMA
6 expressed its basic concerns, and the basic desire was
7 the right to use an alternate concentration limit at
8 ACLs. And there was some discussion back and forth
9 because we had thought that we -- that was part of our
10 guidance, so we told them well, we thought you had
11 that already, and their concern was that it's not
12 really codified, it's not really in the regulations.
13 It is in Criterion 5, but Criterion 5 is written in
14 the context of conventional mills, so what they really
15 would like is to have the use of alternate
16 concentration limits codified in a rule that applies
17 to groundwater protection at ISLs.

18 They also discussed the Class of Use
19 standard that the states were using, and they said
20 they'd like to be able to have that considered in an
21 ACL review. I guess a little background, when looking
22 at an alternate concentration limit and a proposal,
23 there are basically two aspects that the staff has to
24 consider, that the licensee has to address, and that
25 is a protective aspect; that is, you have to show that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 if you have the proposed standard that you'll still be
2 protecting public health, safety, and the environment,
3 and you also have to show that it's as low as
4 reasonably achievable, which is different. If you
5 propose a drinking water standard, you don't have to
6 show that -- I can get it lower than the standard.
7 You only have to show that I meet the drinking water
8 standard. But if you propose an alternate
9 concentration limit, you have to show that reasonable
10 measures can't reduce that limit. And, basically,
11 what industry would like is that the states' Class of
12 Use standard for a particular constituent and class of
13 use of that mining zone be used in the protective
14 argument, that one of their arguments in terms of
15 protection is that look, the state says this is what
16 the class of use is, and this is what the standard is.
17 And we're proposing something lower than that, that's
18 protective. And we said yes, we would accept that.
19 That's certainly an argument, and our guidance will
20 probably discuss how that would be used, so that's a
21 reasonable request on their part.

22 Now in terms of deferral to states, dual
23 regulation, we discussed that. NMA understood that we
24 couldn't write an MOU with a state to defer regulation
25 if the state's standards were not as stringent as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 our's. However, NMA proposed the situation that could
2 work; and that is, if a licensee in getting a permit
3 from a state had in its state permit the more
4 stringent requirements that our regulations after
5 they're codified would require, then they asked could
6 we consider writing an MOU with the state for that
7 particular facility, and we said yes, we could look to
8 writing an MOU if the permit actually identifies the
9 more stringent standards that we would codify. So
10 that was the outcome of the meeting with NMA.

11 So with that, we're now writing back to
12 the Commission with a path forward, and we really
13 can't discuss of what we're writing to the Commission
14 in the public forum. And the Commission, presumably,
15 will then, based on that memorandum, give direction to
16 the Staff in the Staff Requirements Memorandum.

17 Interactions with ACNW - well, we're
18 certainly, once we're back into the actual rule making
19 and writing rule language, we will share the proposed
20 rule with ACNW for review, and look for ACNW comments,
21 and a letter from ACNW on the proposed rule. And we
22 will also -- we are prepared to hold briefings with
23 ACNW on the technical basis, as needed. Are there any
24 questions?

25 MEMBER WEINER: Dr. Hinze.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER HINZE: Well, if I understand
2 correctly, you cannot discuss the technical basis for
3 your decisions until you have proposed a rule for
4 review. Is that right? What is the technical basis?
5 The last point here, briefings on technical basis, as
6 needed. Now that will occur when?

7 MR. FLIEGEL: Well, once we're into the
8 process, once we have the Staff Requirements
9 Memorandum, and it becomes public how we're going
10 about the rule making, if there's a need for -- it's
11 basically just telling ACNW if there is a need to have
12 a briefing, we're certainly receptive to briefing
13 ACNW.

14 MEMBER HINZE: And that will cover the
15 topics that we see on the slide where you have the new
16 criterion we'll address from site characterization to
17 corrective actions?

18 MR. FLIEGEL: That, or anything else you'd
19 like to hear about the rule.

20 MEMBER HINZE: Well, I guess we'd like to
21 hear that, or at least see it, and then be prepared to
22 discuss it. I don't know what further that I need to
23 ask at this time. I, for one, having gone over this
24 material, and out to one of the sites, all of these
25 segments of the criteria are very important, and will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 need to have a strong technical basis. And I'm sure
2 you will have that, but that's something that we would
3 like to look at.

4 MR. von TILL: One thing to add, excuse
5 me. If you look at that slide, the criteria - look at
6 one in particular, and that is the post-operational
7 groundwater quality monitoring. This is an issue that
8 EPA, in particular, is very concerned with. As we get
9 down to close to license termination at one of these
10 facilities, keep in mind that these in-situ leach
11 facilities, when the license is terminated, they're
12 opened up for unrestricted release. It's not like a
13 regular conventional facility where the Department of
14 Energy or the state takes it for long-term care in
15 perpetuity. So the EPA is concerned that once we
16 terminate a license, they're not going to be left with
17 a problem of groundwater contamination migrating into
18 the United States drinking water area, and that
19 adequate monitoring and modeling, perhaps, is
20 implemented in that aspect.

21 This particular subject matter is
22 something where the Committee may have an interest in
23 also helping us to explore ways to handle this. I
24 should add that once the Commission hands down the
25 schedule for rule making, we may not have a whole lot

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of time, depending on the schedule, but this
2 particular issue, the EPA -- we work with four
3 different offices from EPA, Office of General Counsel,
4 Office of Water, Office of Radiation and Air, and
5 Office of Solid Waste. And the Office of Solid Waste
6 and Water, in particular, are concerned with this
7 issue of when we terminate the license, we're sure
8 that we're not going to be left with a legacy site
9 where the United States government will have to come
10 in and make it a superfund site, or something like
11 that, to clean up contamination that may not have been
12 addressed during the licensing process. And so, the
13 amount of monitoring necessary for that post-
14 restoration, any types of modeling also necessary in
15 our review of alternate concentration limits, and the
16 post-restoration monitoring may be of interest to the
17 Committee, as well, the technical aspects of this.

18 MEMBER HINZE: Bill, your comment on the
19 monitoring with time, I don't know how far we should
20 get into the technical basis of this, but one of the
21 concerns that I raised I think in a meeting that a few
22 of us had with you, is the temporal variation in these
23 mining zones. I mean, one of the characteristics of
24 these roll front deposits is the fact that they tend
25 to change with time. And I'm just wondering, if one

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 has another deposit up gradient that may not be ore
2 grade, well, what if that moves down into the site of
3 the previous mining and alters the contamination of
4 that site? There are a number of variables in here
5 that I think you're going to really have to wrestle
6 with.

7 There's the other question that Mike
8 mentioned, the background. I don't know whether this
9 is background to the aquifer surrounding the area, or
10 whether this is in the mining zone itself, because in
11 the mining zone itself, the quality of the water there
12 may have been very poor to begin with, before the
13 mining took place. And it may have been different
14 from the surrounding aquifer. Which is it, is it the
15 background on the margins, or is it the background in
16 the mining zone itself?

17 MR. von TILL: Yes, I can address that.
18 That's the background in the mining areas, itself. A
19 typical aquifer with these roll front deposits is more
20 of a squiggly line situation where some of the areas
21 have high concentrations of Uranium naturally from the
22 ore body. That's why they're there to mine, but other
23 areas around it may be pristine drinking water
24 quality, so we have guidance in our NUREG-1569 on
25 collecting background groundwater quality information.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And it's really a combination of some of the higher
2 concentrations in the ore zone, and some of the ones
3 outside, and then they average it, so it is in the ore
4 zone.

5 The one figure to turn your attention to
6 is this one in blue here, where it kind of shows the
7 mining area in the lighter blue, and the boundary
8 there is where you get into USDWs, the United States
9 Drinking Water area, protected under the Safe Drinking
10 Water Act, so for background, we're talking about in
11 the mining area. And that'll be, you'll have some
12 concentrations, you know, two parts per million
13 Uranium, other concentrations .02 milligrams per
14 liter, so it really varies.

15 MEMBER HINZE: Do you have any difference
16 in that aspect with the EPA, or with the states?
17 Really, you're not talking about the background as
18 being the adjacent aquifer, but you're really talking
19 about the mining zone? Are we all on the same page?

20 MR. von TILL: We're all on the same page.
21 The EPA and the states all require sampling, post-
22 operational sampling to determine what the groundwater
23 quality was prior to mining. And that's in the --
24 now, the EPA's main concern, though, is the
25 protection of the USDW, the drinking water area in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 darker blue.

2 MEMBER HINZE: Yes. And that may change
3 with time, too. There may be migration.

4 MR. von TILL: Yes.

5 MEMBER HINZE: And so the -- how do you
6 handle that? How is it handled now?

7 MR. von TILL: Well, we don't have really
8 any examples where we have terminated a license from
9 the NRC standpoint of one of these facilities yet, but
10 we have approved a number of restoration in well
11 fields. Now you were talking before about the natural
12 ore bodies and the potential for migration of
13 contamination from those natural ore bodies. A
14 licensee is only required to take care of their own
15 problem, and not what nature --

16 MEMBER HINZE: But it may migrate into
17 their problem.

18 MR. von TILL: It might. And the key
19 thing, though, the way these situations are right now,
20 they're kind of an equilibrium where you have some
21 higher concentrations around the ore body, and lower
22 concentrations outside the ore body. But when you
23 inject oxidant chemicals to loosen up, it changes the
24 whole dynamics of geochemistry. We're looking at a
25 number of applications of using mod flow, MT3D, FREAK-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 C, different modeling packages to analyze the
2 geochemical nature of the situation so that we can
3 assure that in the future the drinking water aquifers
4 are protected.

5 MEMBER WEINER: Allen.

6 VICE CHAIRMAN CROFF: First, thanks for
7 the presentation. It was very helpful in putting, I
8 guess, the rule making and the legalities in
9 perspective.

10 I guess I have a fairly fundamental
11 question, and that is, what are the hazards we're
12 trying to protect people from in these in-situ leach
13 sites? I'm assuming it's mostly chemicals?

14 MR. von TILL: Yes, it's -- the
15 groundwater aspects. We're trying to protect them
16 from chemicals, like Uranium, Arsenic, Molybdenum,
17 Selenium, and all the metals that are freed up in the
18 process. The main ones we're typically looking at are
19 Uranium, Radium, things like that, but in the UMTRCA
20 space, this is one of the only programs in NRC where
21 we're tasked to not only look at the radiological
22 hazards, but also the non-radiological hazards
23 presented in this milling, and for the most part, from
24 a groundwater contamination perspective, the driving
25 factor is metal toxicity. The Uranium, for example,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it's renal toxicity, and that's why EPA came up with
2 their new MCO .03 milligrams per liter, so that the
3 risks really are for groundwater ingestion, and even
4 livestock-type risks from the contaminants that get in
5 groundwater, for just the groundwater part. Now the
6 surface facility, there's other risks, as well, but
7 we're just talking about groundwater.

8 VICE CHAIRMAN CROFF: So the injected
9 chemicals aren't really an issue here. It's what's
10 freed up by the --

11 MR. von TILL: It's what's freed out, yes.

12 VICE CHAIRMAN CROFF: Okay. Second, in
13 talking to this, you mentioned a number of standards,
14 I mean, drinking water. There were some others, and
15 then alternative concentration limits. To what extent
16 are the existing standards risk-based or risk-
17 informed?

18 MR. von TILL: UMTRCA is a regulation
19 that's very flexible, and I believe it has a lot of
20 risk-informed and risk-based aspects to it. In the
21 groundwater arena, you've had your primary standards
22 being background or MCLs, whichever is higher, in the
23 case we were talking about earlier. Background is
24 higher than MCLs, then it would be background. If
25 MCLs are higher, it's MCLs. Then we have the concept

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of alternate concentration limits. Alternate
2 concentration limits, by its own nature, is really a
3 risk-based, and risk-informed standard where you use
4 Fate and Transport modeling, and performance of
5 corrective action to come up with a more risk-based
6 standard. We've approved a number of ACL applications
7 on the conventional side for a lot of our mills,
8 Western Nuclear, Ute Medico, Real Algrem, and Brogia
9 Lake, Lisbon; whereas, a licensee has to demonstrate
10 that they tried to pump and treat as much as they
11 could. They couldn't get it down any further, and
12 through the use of Fate and Transport modeling and
13 monitoring, they demonstrated that this was safe
14 enough in an ACL-type situation. So we think that
15 ACLs is a risk-based and risk-informed standard within
16 the regulations under UMTRCA.

17 VICE CHAIRMAN CROFF: What kind of risks
18 are typically posed by these sites after you finish
19 cleaning them up, and this kind of thing. Does
20 anybody ever calculate that?

21 MR. von TILL: Not from a, I guess, a
22 quantitative standpoint, but moving from a
23 conventional facility to an ISL facility, ISLs, you
24 don't have the mining, you don't have the exposure to
25 Radon in the mines. A lot of the risks that you have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 at a conventional mining and milling are not there
2 with an in-situ leach facility. However, the biggest
3 potential environmental impact and risk from an ISL
4 facility is groundwater, because everything happens in
5 the groundwater. And most of our facilities, all of
6 our facilities are out west where groundwater is gold
7 out there. And so the community is very sensitive to
8 groundwater contamination, and so that's the biggest
9 risk, is degradation of the resource for drinking
10 water, inhalation, I mean, ingestion of groundwater
11 from wells around the area. From the groundwater
12 aspect, that's the biggest risk. From the surface
13 facility, we still do have risk from the Yellow Cake
14 Dryer and the processing itself.

15 VICE CHAIRMAN CROFF: Okay. You mentioned
16 early in the presentation that the focus of this whole
17 thing was on groundwater protection. Are there other
18 technical issues associated with in-situ leach mining,
19 other than the groundwater protection?

20 MR. von TILL: There's a number of aspects
21 that could be improved upon even from the surface
22 facility, but the Commission is very clear that they
23 just wanted us to narrowly look at the groundwater
24 aspects. But yes, there are other aspects that we
25 could improve upon. And even with the conventional

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 facilities, as Mike mentioned earlier, at one point,
2 the Staff wanted to do a Part 41, which was a large
3 rule making effort, to get UMTRCA up with the modern
4 times, and then the industry didn't support that with
5 the low price of Uranium. Now our effort is just the
6 narrow aspect of groundwater protection at this
7 facility; but yes, there are other aspects.

8 VICE CHAIRMAN CROFF: But no current plans
9 to include that in the rule making scope.

10 MR. von TILL: No. We were getting ready
11 to send a paper up, and the Commission sent a clear
12 message to us that they wanted us to just, at this
13 point in time, to focus on the groundwater aspects at
14 ISLs.

15 VICE CHAIRMAN CROFF: Okay. Thanks.

16 MEMBER WEINER: Mike.

17 CHAIRMAN RYAN: Thanks. I apologize being
18 late. I've been getting a little help in my vocal
19 chords here. And, again, I have read all the
20 material, so I'm sorry I missed the opening part of
21 your briefing. It seems to me that you guys have a
22 good handle on what the dance card has to be to get it
23 done, and the trick is really how do you integrate
24 MCLs, ACLs, issues of ALARA, and issues of when
25 monitoring and modeling are done. Are those the four

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 big questions that you're trying to integrate between
2 EPA and NRC guidance?

3 MR. von TILL: Yes, the main ones, and
4 what the restoration standards will be was one of the
5 big ones. I think we have a consensus on the path
6 forward on that, and now it's a matter of coming up
7 with a rule and revising the guidance that we have on
8 the issues you just spoke about.

9 CHAIRMAN RYAN: I mean, it sounded like
10 the Mining Association comment was that they'd really
11 like that to be explicit, rather than not?

12 MR. von TILL: Yes, they want ACLs to be
13 codified so that --

14 CHAIRMAN RYAN: Tell us what you want.

15 MR. von TILL: One of the things that Mike
16 didn't mention is, they want consistency and
17 predictability as we move forward with this resurgence
18 in the market. They want know where they are, what
19 are the standards, what do we have to look at?

20 CHAIRMAN RYAN: Sure.

21 MR. von TILL: We don't want a change in
22 field all the time, and that's a big thing we hear
23 from our licensees, we want some consistency.

24 CHAIRMAN RYAN: Sure. I think just
25 clarity of exactly what's required is good. That's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 great. All that being said, as we all move forward
2 here, where do you think the ACNW can best give you
3 additional insights and review?

4 MR. von TILL: I think several ways. As
5 we move -- if the Commission approves going forward
6 with the rule, during the rule making process itself,
7 we want to work with the committee and listen to the
8 committee's comments on the technical basis parts of
9 the rule. In addition, what I mentioned earlier, this
10 issue of post-restoration monitoring, in particular,
11 is an interest that we have that is a very technical
12 nature that the committee could help the Staff with.
13 And whatever else the committee is interested in in
14 this aspect.

15 CHAIRMAN RYAN: I thought that was kind
16 of, maybe even the toughest one of them all, because
17 that questions tends to vary quite a bit based on
18 where you are.

19 MR. von TILL: It is a tough question.

20 CHAIRMAN RYAN: So it could be real
21 simple, if you have a simple groundwater system, and
22 the monitoring is very predictive of what you'd
23 expect, or if it's layered and fractured, and whatever
24 all else Professor Hinze can tell us about the geology
25 and so forth, that it would be tough to do. So that's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the kind of thinking, where you've got to offer
2 guidance, but it's across such a broad range, some
3 thought needs to go into that.

4 MR. von TILL: I should also mention, on
5 a separate note, we're going to be looking at a number
6 of Reg Guides that we have, and revising those Reg
7 Guides. And the ACNW would also be able to comment
8 and help us with that, too.

9 CHAIRMAN RYAN: Great.

10 MR. von TILL: I just wanted to mention
11 that.

12 MR. FLIEGEL: Yes. In terms of the ACNW's
13 guidance, I think it's going to be more on the
14 regulatory guides, because the standards, the
15 regulations itself doesn't -- isn't really going to
16 get into the details. For example, if there's a
17 regulation that looks towards ensuring that in the
18 long-term, the USDWs are not impacted, the regulation
19 may not say very much more than that. It's the
20 guidance that's going to explain well, what kind of
21 monitoring needs to be done, and how, and what's
22 sufficient.

23 CHAIRMAN RYAN: How many, what location,
24 how long, all that stuff.

25 MR. FLIEGEL: Yes, and so that's probably

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 --

2 CHAIRMAN RYAN: No, that's -- I mean, the
3 devil is in the details there.

4 MR. FLIEGEL: Yes.

5 CHAIRMAN RYAN: So we appreciate that.

6 MR. FLIEGEL: Yes.

7 CHAIRMAN RYAN: Before we go on, let me
8 just thank you guys for involving us very early in
9 your process and having us meet at industry,
10 stakeholder meetings, and other activities with you.
11 Whenever the ACNW can get involved in those earlier
12 stages and learn as you're learning, it really helps
13 us be better prepared and we do a better job, so
14 you've been really proactive in getting us involved in
15 this, and I just want to recognize how important and
16 helpful that is to our activities, as well.

17 MR. von TILL: We appreciate that, and we
18 appreciate your members attending the National Mining
19 Association meeting, and also going to one of the
20 sites.

21 CHAIRMAN RYAN: Good. That's all.
22 Thanks.

23 MEMBER WEINER: Jim.

24 MEMBER CLARKE: I'm starting to gain an
25 appreciation for the complexity of this, not only the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 physical, you've got surface facilities above ground,
2 injection wells, production wells, mining zone,
3 outside mining zone, and then all these different
4 regulatory pieces.

5 Just out of curiosity, I think my first
6 encounter with an ACL was in a RICRA corrective
7 action. Is the concept of an ACL in the Safe Drinking
8 Water Act regulations, as well? It's really more of
9 a remediation concept.

10 MR. von TILL: It comes from RICRA.
11 You're exactly right. When the NRC codified its
12 groundwater standards for UMTRCA for Uranium mill
13 sites, they took a lot of the language verbatim from
14 RICRA, so a lot of the groundwater standards and the
15 ACL criteria that we have is almost identical to
16 RICRA. The one key difference is the ALARA part.

17 MEMBER CLARKE: All right.

18 MR. von TILL: But other than that, it's
19 pretty much identical.

20 MEMBER CLARKE: Is ACL referenced in the
21 UMTRCA regulations?

22 MR. von TILL: It is. It's our Criteria
23 5.B.6, Appendix A, Part 40.

24 MEMBER CLARKE: The other question I had
25 is, the committee has also been following closely the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 revised guidance for decommissioning complex material
2 sites, and decommissioning under the LTR. And you
3 have a memorandum of understanding with the EPA on
4 that, that was, as I recall triggered by -- well, the
5 dispute between 15 and 25, but also concentrations, in
6 this case, I think radionuclides in soils and
7 groundwater. How does that fit with where you're
8 going with this?

9 MR. von TILL: That particular MOU is not
10 for Uranium recovery facilities.

11 MEMBER CLARKE: I understand. There was
12 a reasoning behind that, I guess.

13 MR. von TILL: I'm not as familiar. I'll
14 have to turn to Keith on that.

15 MEMBER WEINER: Could you say who you are
16 for the --

17 MR. McCONNELL: Keith McConnell, Deputy
18 Director of the Division of Waste Management and
19 Environmental Protection. When the license
20 termination rule was promulgated, it was clearly
21 defined that it would not apply to Uranium recovery
22 facilities. And so, the MOU that we've developed with
23 the Environmental Protection Agency to address those
24 complex material sites where the thresholds would be
25 exceeded, which are, in most cases, the MCLs, really

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 doesn't apply in this particular instance, and so we
2 don't coordinate with EPA through the MOU on ISLs. I
3 think, Bill, you have separate arrangements with EPA.

4 MR. von TILL: We do. I should point out
5 that we have two sites in New Mexico, these are
6 conventional sites. The Homestake site, and the UNC
7 Church Rock site in New Mexico, where they are also
8 EPA superfund sites, and we have an MOU with EPA
9 specific to those two sites in which anything that's
10 groundwater-related, we have to consult with EPA. And
11 for both of those sites, for Homestake, which I'll be
12 out at in a couple of weeks, actually, we coordinate
13 with the State of New Mexico, and the EPA Region VI,
14 I believe. On the UNC Church Rock site, we coordinate
15 with the EPA, the state, and the Navajo nation, Navajo
16 EPA, so those two sites we do have EPA MOUs. And from
17 time to time, EPA becomes interested in some aspects
18 of what we do. Sometimes our ACL reviews, EPA will
19 get in there and communicate with us on some concerns
20 they have of a particular site-specific nature, but
21 that's -- we don't have an MOU.

22 MEMBER CLARKE: I think you just answered
23 my next question. One of the reasons I brought it up
24 is, as I recall, I think Keith confirmed that, the MOU
25 on the material sites has an MCLs, is triggered by

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MCLs. ACLs are not part of that Memorandum of
2 Understanding, that you're really working towards ACLS
3 in this case. Is that right, or is that wrong?

4 MR. von TILL: Well, the standards are
5 background MCLs or ACLs, but we don't have any trigger
6 for Uranium sites like the MOU for decommissioning
7 sites with EPA. But we work with EPA quite a bit, and
8 this --

9 MEMBER CLARKE: You can have a site-by-
10 site --

11 MR. von TILL: Site-by-site. And I should
12 just emphasize, this rule making effort is really a
13 collaborative process, too, with EPA. I think we've
14 strengthened our relationship with EPA through all
15 these meetings that you saw, four different offices of
16 EPA.

17 MEMBER CLARKE: That was a nice
18 presentation. Thank you.

19 MR. von TILL: Thank you.

20 MR. WIDMAYER: Hey, Jim, as far as the
21 complex decommissioning MOU, the MCL is the trigger,
22 but then, like they were just talking about, the
23 applicant can move to an alternate concentration limit
24 as far as how they're actually going to clean up the
25 groundwater. But the process in the MOU would be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 triggered, because it's --

2 MEMBER CLARKE: Basic considerations are
3 really consistent. It's just that you're dealing with
4 non-radionuclides on these sites. That's probably
5 more of a problem.

6 MR. von TILL: I should also mention that
7 the difference, too, between the decommissioning site
8 and the Uranium mill tailing sites, decommissioning,
9 the NRC is mainly looking at dose assessments of
10 radiological risk, hazard from these materials in
11 groundwater; whereas, UMTRCA staff are looking at the
12 radiological and the chemical risks, so there's a
13 little bit of a difference in the programs.

14 MEMBER CLARKE: I appreciate that. I'm
15 familiar with the issues. Thank you.

16 MEMBER WEINER: Dr. Ryan has another
17 question before I go.

18 CHAIRMAN RYAN: Just one follow-up, Bill
19 and Mike. Whenever I hear kind of this complex system
20 of state, federal agencies all getting together, I
21 usually can pick my way through the road map, just
22 because I know it a little bit better. Do you have
23 any plans to think ahead to how you're going to
24 explain all this to the public? This is kind of a
25 complex situation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And, by the way, I think pretty well done,
2 the way you've explained it, and the way you're
3 heading forward, so at some point, though, there's
4 going to be a lot of moving regulatory parts here, and
5 somebody is going to ask you how do all these
6 pinwheels fit together?

7 MR. von TILL: You're exactly right. Part
8 of the rule making process, we plan to have a number
9 of workshops, like we had in Denver, perhaps in
10 Albuquerque, get some of the other stakeholders, maybe
11 even in Texas, maybe Denver again, wherever we need to
12 do that, to get the public and the stakeholder
13 industry comments, and try to explain this complicated
14 process. We did that before at Denver, but we had a
15 paradigm shift in our approach. Back then we were
16 assuming that the Underground Injection Control
17 standard was the appropriate standard. We need to get
18 back out there, we need to change the technical basis
19 and get back out there in the public and explain what
20 we're doing.

21 CHAIRMAN RYAN: This is kind of an off-
22 the-top-of-my-head thought, but I'd be thinking ahead
23 to not only that stakeholder group, but also how
24 you're going to help folks who are in the groundwater
25 protection program in a state or tribal organization

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 communicate to their constituents. Are you going to
2 have materials that will help them explain all that,
3 and that kind of thing, because it is a very intricate
4 arrangement, one that you looped everything together,
5 at least have plans to loop it together in a
6 successful way, but it's still pretty complicated, so
7 helping everybody communicate that to the residents
8 and constituents would be probably something that's
9 worthy of thought at this earlier stage.

10 MR. von TILL: Sure. I appreciate that.
11 Thank you.

12 CHAIRMAN RYAN: Thank you.

13 MEMBER WEINER: Just to follow-up on that,
14 as I recall, when the public meeting was held in
15 Denver last year, almost no members of the public
16 attended. In fact, you want to comment on that? Do
17 you have any -- that was just my understanding. We
18 didn't stay for the public meeting.

19 MR. von TILL: At the time, we were also
20 planning on having - back on that paradigm, additional
21 workshops after the meeting. Now this time, and we'll
22 have to get Commission approval, but we would like to
23 have additional workshops in places like Albuquerque,
24 New Mexico, for example, to get the public's feedback.

25 MEMBER WEINER: Be happy to attend, and I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 suggest you have one, if you can, in Gallop. It's a
2 great place to be.

3 To move to the questions I had, and I want
4 to thank Allen for asking my question about what are
5 you protecting? You talked about class of use, going
6 back to class of use as a standard. Have you thought
7 of what happens when the state changes the class of
8 use to make it more -- to make the standard more
9 restrictive, which is actually what happened in New
10 Mexico. They changed the class of use standard around
11 the proposed ISL site.

12 MR. von TILL: That's a good point, and
13 EPA has voiced that concern of a change in standard,
14 too. And I should be clear, we're not going to have
15 four standards where we have background, MCLs, ACLS,
16 and class of use. What the industry is interested in
17 now is in looking at an ACL as part of the criteria to
18 look at class of use. We do have one of the 19
19 criterias in 5.B.6 is to look at the current and
20 future use of groundwater use, so it kind of fits into
21 that, so it wouldn't be really a de facto standard,
22 but only a part of a criteria looked at under a full
23 ACL review.

24 MEMBER WEINER: I see.

25 MR. von TILL: And I note your concern

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that a class of use designation can change over time.
2 EPA's Office of Water has the same concern.

3 MEMBER WEINER: Thank you. That's very
4 helpful. What's been the track record in groundwater
5 contamination, or non-contamination? I mean, there are
6 ISL sites that are operating, have been operating in
7 a number of states. Can you give us some idea of what
8 they have met? Have they mostly gone to ACLs? What's
9 been their track record in meeting some criterion that
10 protects health?

11 MR. von TILL: Sure. And what I'm
12 speaking to is in the United States under the NRC
13 Headquarters purview. Keep in mind that Texas also
14 has a number of ISL operating facilities, and I'm not
15 as aware of those aspects, but in Wyoming and
16 Nebraska, the NRC has approved a number of well-field
17 restorations. And the way we do this is, the licensee
18 will request a restoration approval well field by well
19 field, or mine unit by mine unit, some of these
20 facilities have 18 mine units, and so as they go
21 along, they'll produce out of one mine unit and
22 restore it, and move to the next one. The track
23 record has been pretty good, so far. The ones we've
24 reviewed in Nebraska and Wyoming, the licensees have
25 been able to get a lot of the constituents down to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 primary standards. Some of the constituents they have
2 not been able to get down to primary standards, we had
3 to fall back on secondary standards. And the licensee
4 was able to demonstrate that they tried to get down to
5 primary standards, and leaving it in the secondary
6 standard was protective of human health and the
7 environment. Some of the licensees, one of the
8 licensees in Wyoming is using some innovative
9 techniques of kind of bio-remediation-type techniques
10 to try to get groundwater contamination down even
11 lower, so the track record so far in the licenses that
12 we manage at NRC has been pretty good.

13 MEMBER WEINER: Do you know anything about
14 -- let me ask it a different way. Do you have any
15 cases where the ISL - where the facility was unable to
16 remediate to a satisfactory level?

17 MR. von TILL: I don't have anything like
18 that, so far. We do have a lot of excursions that may
19 occur from a faulty injection well, that gets into a
20 separate aquifer. We may have excursions where some
21 of the contamination comes out a little too far. They
22 bring it back in. Our experience has been that the
23 licensees have done a good job at correcting any
24 contamination that they had, and we haven't seen
25 situations where contamination has migrated off 20

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 miles, or anything like that. Worldwide, some of the
2 other countries use Sulfuric Acid, as opposed to
3 Oxygen and Bicarbonate, and that could be a different
4 situation. But in the United States, these licensees
5 have demonstrated a pretty good track record.

6 MEMBER WEINER: Just out of interest, what
7 fraction of the ISLs add Bicarbonate?

8 MR. von TILL: Most of the ones we have.

9 MEMBER WEINER: Most of the ones that you
10 have.

11 MR. von TILL: Yes.

12 MEMBER WEINER: In other words, there are
13 relatively few that use just ozonated water.

14 MR. von TILL: And it might vary, too,
15 based on the different ore bodies they have. What
16 we've seen in our main producing facilities is
17 Bicarbonate and Oxygen. The two main ones we work
18 with right now are the Krogue Unit facility in
19 Nebraska, and the PRI Smith Ranch facility in Wyoming.
20 The PRI Smith Ranch facility, we have a number of
21 amendments, and we try to ramp that production out to
22 different satellite facilities. And the ore bodies
23 may be different 20 miles away at a satellite
24 operation, than close by, but leaching them is
25 Bicarbonate and Oxygen.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WEINER: Finally, I notice in your
2 introduction that basically a third of the new
3 applications are for conventional mining facilities.
4 Is addressing the groundwater adequate for -
5 addressing only the groundwater, focusing on
6 groundwater, is that adequate for the conventional
7 facilities? Are you looking at further regulation?
8 I mean, recognizing that those are now regulated under
9 Part 40.

10 MR. von TILL: There are some lessons
11 learned we're looking at, but for the most part, the
12 criteria that we have in the Criterion 5 of Appendix
13 A, adequately covers things like mining of these
14 tailings impoundments, and detection monitoring, and
15 corrective action for contamination that occurs at
16 these facilities. Some of the things we're looking
17 at, for example, we've seen groundwater contaminate
18 plumes occur from the facilities themselves, the
19 actual mill and the ore pads, and we hope to, for new
20 facilities, we hope to remedy that situation, but we
21 do have an adequate regulatory structure for that.
22 And most of the -- as I said before, some of the
23 formations that have Uranium, especially in New
24 Mexico, and some in Wyoming, are not amenable to in-
25 situ leach mining, and so some conventional facilities

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we see as being out there.

2 We have one facility on standby, the
3 Sweetwater facility in Wyoming. There's a producing
4 facility in Utah, the White Mason mill, and there's a
5 producing facility that's on hold right now in
6 Colorado, the Kotter mill. But we had a lot of
7 interest, in particular, in New Mexico in the grants
8 renewal region of some conventional facilities.

9 MEMBER WEINER: How are you handling the
10 interaction with the Navajo?

11 MR. von TILL: With the Navajo nation, we
12 mainly deal with them on the UNC Church Rock site, and
13 our HRI in-site leach facility, which we had a long
14 history of litigation under the ASLD, I think we've
15 really strengthened our communication with the Navajo
16 nation. As you know, the Navajo nation has a ban on
17 Uranium mining and milling. They feel that it poisons
18 the waters, and they don't like the Uranium mining and
19 milling, and so they're pretty much against that. But
20 on the sites that we have, we meet with them often.
21 We meet with them in Gallop, in Window Rock, in
22 Albuquerque, Santa Fe. I've personally dealt with
23 them quite a bit. I gave a presentation a couple of
24 years ago in Flagstaff, Arizona to a number of Hopi
25 and Navajo nation folks on abandoning Uranium mines

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and mills, and listened to their concerns.

2 MEMBER WEINER: I would say that's a very
3 fruitful area for public communication. Thank you.
4 Staff? Latif, I know you have some questions.

5 MR. DIAS: Could I ask one question,
6 because we're going to have to leave very soon. It's
7 one question.

8 MEMBER WEINER: Yes.

9 MR. DIAS: I'm trying to understand,
10 basically. This is Antonio Dias from the ACNW Staff.
11 I'm trying to understand basically the background of
12 this. And on Slide 3 that you described the
13 legislative and regulatory background, there's one
14 bullet that says, "EPA and EPA authorized states
15 regulate groundwater protection at ISLs through the
16 UIC program." That's fine. And then when I go to
17 Slide 6, which are the EPA interactions, and that's
18 based on EPA meetings you had in late 2006, there is
19 one bullet that says, "EPA does not agree to use the
20 UIC standards as basis for ISL groundwater
21 protection."

22 What exactly is the difference between one
23 and the other? One says that that's how they use it,
24 and the other one says that EPA does not agree to use
25 it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. FLIEGEL: The -- for an ISL, an ISL
2 must get essentially two licenses. It gets a license
3 from the Nuclear Regulatory Commission or one of our
4 agreement states, it gets a permit from EPA or one of
5 the EPA authorized states under the Underground
6 Injection Control program, so the Slide 3 points to
7 the latter, that a facility must get a permit from EPA
8 under the Underground Injection Control program, which
9 is a safe drinking water requirement. And that's
10 looking to protect the underground sources of drinking
11 water around the mining zone.

12 The license they get from us is under the
13 Uranium Mill Tailings Radiation Control Act, and that
14 says that -- when that was promulgated, it required
15 EPA to write regulations that would be applicable to
16 Uranium mills, Uranium mill tailings, and controlling
17 11e(2) byproduct material, and it directed EPA to look
18 to the Solid Waste Disposal Act in writing those
19 regulations. So EPA wrote those regulations, and part
20 of those regulations look to what happens in
21 groundwater, and how do you protect groundwater? And
22 so those standards look to background, drinking water
23 standards, and ACLs.

24 When we looked at -- but those standards
25 were written in terms of conventional mills, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 groundwater contamination that essentially leaked from
2 impoundments. We've been regulating ISLs and
3 restoration of mine fields, which are typically much
4 deeper than groundwater contamination at a
5 conventional mill. We've been regulating them
6 basically with the same kind of standards, and so when
7 the thought was to try and look at eliminating dual
8 regulation and deferring, one thought was well, EPA
9 already regulates these facilities under the
10 Underground Injection Control program, the Atomic
11 Energy Act says we have to conform our regulations to
12 EPA's regulation. Rather than looking to the
13 groundwater standards in the EPA UMTRCA regulations,
14 can we look to the groundwater standards in the
15 Underground Injection Control program? And that's
16 what we started to do, but EPA said no, for NRC's
17 regulation of ISLs, you still have to look to the
18 UMTRCA standards, even though we, EPA, in addition to
19 that, impose the UIC standards on that.

20 MR. HAMDAN: Can I help with this?

21 MR. DIAS: We're going to have to go.

22 MR. GILLESPIE: No, no, not you guys.

23 MEMBER WEINER: That's fine. I think

24 Latif was next.

25 MR. HAMDAN: Antonio, I just want to help

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you with this. On the latter slide you mentioned,
2 which is EPA does not agree to use UIC standards, what
3 they are really saying, EPA doesn't agree to use UIC
4 only. They need to use that in addition to the
5 standards. That helps?

6 MR. DIAS: Okay.

7 MR. HAMDAN: And, Ruth, just your question
8 the conventional; the Staff, the NRC already has
9 comprehensive standards for conventional mining, so
10 that's not --

11 MEMBER WEINER: Yes, that's what --

12 MR. HAMDAN: Can I ask a couple of
13 questions?

14 MEMBER WEINER: Please, it's your turn.

15 MR. HAMDAN: Yes. Mike, first of all, I
16 want to thank you very much for responding so quickly
17 on short notice to our request for this briefing. We
18 didn't ask you until what, 20 days, and here we are,
19 and I really want to convey to you that we appreciate
20 it very much. Echo what Mike Ryan has said already.

21 I have two clarifying questions about the
22 scope of the rule making. On this new criterion,
23 Criterion 14, is this going to be an all-inclusive
24 criterion, or are you going to make cross-reference to
25 the other criteria in the -- in other words, when it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 comes to one thing, are you going to have section in
2 this Criterion 14 on monitoring, and financial
3 assuery, or are you going to just cross-reference to
4 Criterion 7, 7A, or Criterion 9, and so on and so
5 forth?

6 MR. FLIEGEL: The simple answer is yes.

7 (Laughter.)

8 MR. FLIEGEL: We've got to get into the
9 details, and whether, in some instances, we point to
10 a different part of Appendix A, and in other instances
11 because -- and those details we'll have to work out in
12 actually writing the rule.

13 MR. HAMDAN: Okay. That's good.

14 MR. FLIEGEL: I don't know that -- we
15 haven't got that pre-set.

16 MR. HAMDAN: Very good.

17 MEMBER WEINER: I would say that when you
18 make the presentation on the technical bases, please
19 expand on what is meant. We are not all as
20 knowledgeable as Latif is.

21 MR. HAMDAN: Yes. The other clarifying
22 question also is, how about the on-site disposal of
23 effluents, whether it's in evaporation pond, surface
24 facility, or deep injection? Are you going to address
25 that, because clearly, that's groundwater protection,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 too.

2 MR. FLIEGEL: As for deep injection, that
3 a licensee gets a specific permit from EPA.

4 MR. HAMDAN: Okay.

5 MR. FLIEGEL: And in the past, I don't
6 think we've ever tried to get that. We're going to
7 look at that now.

8 MR. HAMDAN: So the rule making will not
9 address either the deep well injection, or effluent
10 disposal on-site? And if not, why not?

11 MR. FLIEGEL: Effluent - well, the --

12 MR. von TILL: Evaporation ponds?

13 MR. HAMDAN: Yes. Because ultimately, it
14 goes to groundwater.

15 MR. von TILL: The evaporation ponds is
16 possible. The deep well injections, EPA - we only
17 look at the radiological aspects in the actual
18 building where the deep well injection head is. We
19 don't have any aspect of that. EPA handles that under
20 a separate permit, and that particular deep well
21 injection has no part of really the extraction of
22 Uranium, so we don't have that, but that's a good
23 question.

24 MR. HAMDAN: Yes. The question there, the
25 reason why I bring, especially the evaporation pond,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 as you know, in the conventional mill tailings,
2 there's almost always an evaporation pond on top of th
3 tailings, and that's a source of contamination. And
4 then you may want to make sure you address at least
5 that, if not the deep well injection.

6 MR. FLIEGEL: One of the things that we're
7 going to have to look at in detail is, obviously, a
8 licensee has to address potential for contaminating
9 groundwater from an evaporation pond. The question
10 is, do the requirements in Criterion 5 already cover
11 it, or do we have to add anything in the rule making?
12 Because the fact that you have an evaporation pond at
13 an ISL, that part may not be any different than an
14 evaporation pond at a conventional mill that's already
15 got -- so we're going to have to look in detail at
16 whether we need to add something to that.

17 MR. HAMDAN: Yes. My question, not so
18 much that you write something new, that's why I talk
19 about the cross-reference. I think you can cover a
20 lot of ground, you can have a very brief section in
21 the new criterion that makes reference to aspects of
22 groundwater protection that are already in regulation,
23 and you do not need to rewrite them. And this is one
24 example.

25 MR. FLIEGEL: Yes, and that may be as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 simple as in the new criterion having a sentence or
2 two that focused on an ISL, that basically says if you
3 have an evaporation pond, all the requirements in
4 Criterion 5 apply.

5 MR. HAMDAN: Exactly. Thank you.

6 CHAIRMAN RYAN: I think that's an example
7 of the road mapping I was talking about, to make it a
8 little bit more transparent. If you can get as many
9 of those done as Latif is suggesting, either in
10 guidance, and that's probably the right place for it,
11 that's going to eliminate a lot of well, how does this
12 fit together for me, or how about this circumstance?
13 That would be a great table, for example, to put
14 together.

15 MEMBER WEINER: Before I recognize, Derek,
16 who does have a question, there's a comment I wanted
17 to make, that you touched very briefly on it, but
18 there is a huge difference in occupational exposures
19 between conventional mining and ISL. And I don't know
20 where the appropriate place is to put that, but I
21 think it's something that you definitely should pay
22 attention to, particularly in your public information
23 section. And for that matter, in the general
24 environment impact of -- the general surface
25 environmental impact of an ISL is very different, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 much less destructive, than a conventional mine. I
2 just think that's something that people tend to
3 forget.

4 Derek, you had a question?

5 MR. WIDMAYER: Yes. Earlier in response
6 to a question by Dr. Croff, you mentioned that there
7 were some aspects of ISL mining that were not being
8 improved in the regulatory framework. And you
9 mentioned that there had been this Part 41 that the
10 Staff had worked on in the past, and it got cancelled.
11 Are you going to address any of those in regulatory
12 guidance, or has your job from the Commission really
13 limited you to just changing the Reg Guides for
14 groundwater protection, or can you address some of
15 those other things?

16 MR. von TILL: The main effort that the
17 Commission has directed us to do at this point is only
18 the narrow rule making of the groundwater protection
19 aspects at an ISL facility, and the revision of the
20 guidance, the main guidance that we have, which is
21 NUREG-1569, the groundwater aspects of that. We don't
22 have any direction from the Commission to go beyond
23 that at this point.

24 MR. WIDMAYER: Okay. So none of these
25 other weaknesses, if you will, are going to be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 improved at this point.

2 MR. von TILL: Well, I should say that the
3 Reg Guides, though, separate from NUREG-1569, we had
4 a number of those, anywhere from environmental reports
5 for new applications, to bio-assay issues, that we're
6 looking -- we with the Office of Research right now,
7 towards trying to have an expedited schedule to revise
8 some of those Reg Guides. That's a separate effort
9 from this effort.

10 MR. WIDMAYER: Okay. Thank you.

11 MEMBER WEINER: Keith, you had a comment?

12 MR. McCONNELL: Well, it's just - Bill
13 said, I think, what I was going to say, but just to
14 elaborate a little bit - we're doing this other effort
15 to revise some of the NUREGs in the context of getting
16 prepared for the, what we expect to be a surge of new
17 applications for in-situ leach facilities, so there's
18 really two efforts going on in parallel. There's the
19 rule making effort, but then an effort to be prepared
20 for the new applications.

21 MEMBER WEINER: Further questions, anyone?
22 Hearing none, I also want to add my thanks to a very
23 excellent presentation, and the fact that you put it
24 together on really short notice. And I just wanted to
25 thank the Staff for all the help that they have been

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to the ACNW, and ACNW staff, in keeping us informed
2 with meetings, assisting us when we went to visit the
3 Crow Ute site. This has all really helped us develop
4 a very good background, so thanks again, and I'll turn
5 it back to the Chair.

6 CHAIRMAN RYAN: Thank you. With that,
7 we're scheduled for a break. We'll take a break now
8 until 10:45. Thank you.

9 (Whereupon, the proceedings went off the
10 record at 10:25 a.m., and went back on the record at
11 10:45 a.m.)

12 CHAIRMAN RYAN: I would like to ask the
13 meeting go come back to order please.

14 Speaking for this section on the MARSAME
15 Manual -- it's the Multi-Agency Radiation Survey and
16 Assessment of Materials and Equipment Manul -- is Dr.
17 Robert Meck, Senior Health Physicist in the Health
18 Effects Branch, Division of Fuel Engineering and
19 Radiological Research in the Office of Nuclear
20 Regulatory Research.

21 Dr. Meck is a cofounder and leader of the
22 inter-agency working group that developed the MARSAME
23 Manual.

24 There are several individuals on the
25 telephone who are on the working group who were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 involved in the development of MARSAME. And I'd like
2 to ask each of you to introduce yourselves now please.
3 Do we have any folks on the bridge line?

4 MS. SNEAD: This is Kathryn Snead. I'm
5 the EPA point of contact for the MARSAME work group.

6 MR. BHAT: Good morning. This Ram Bhat
7 speaking from U.S. Task Force. I'm one of the MARSAME
8 Committee members.

9 DR. GOGOLAK: This is Carl Gogolak.
10 Before I was a member of the MARSSIM, the MARLAP, and
11 the MARSAME work groups.

12 CHAIRMAN RYAN: Hey Carl, how are you?
13 It's Mike Ryan.

14 DR. GOGOLAK: Hi, Mike. How are you
15 doing?

16 CHAIRMAN RYAN: Good.

17 Anybody else?

18 (No response.)

19 CHAIRMAN RYAN: So we have three
20 participants on the bridge line. And if I could ask
21 you folks to put your phones on mute, that will help
22 us. And we can certainly open them back up for
23 comments or questions and discussion.

24 Without further ado, let me turn the
25 microphone over to Dr. Meck. Welcome.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. MECK: Thank you and good morning.
2 I'm Bob Meck and I'm here this morning to give you an
3 overview of the MARSAME Manual, its processes,
4 methods, and status.

5 The MARSSIM website is full of
6 information, including MARSAME. I invite you to visit
7 it if you haven't already. I think that you would
8 enjoy it.

9 The MARSSIM and MARSAME have the same
10 author agencies: EPA, NRC, DOE, and DoD. And we've
11 had support services from Cabrera in contracting.

12 The names of the leads -- if I name
13 someone and you've just come on the line, please say
14 here to indicate that you are on the line after I call
15 your name. Our Chairman is Captain Colleen Petullo.
16 Kathryn Snead is on the line we've heard. Nidal Azzam
17 and Vicki Lloyd, George Powers from the NRC is here in
18 the room, Dr. Alexander Williams is the DOE lead. And
19 from DoD, the lead is Dr. Steve Doremus from the Navy,
20 David Albert from the Army, Dr. Ram Bhat from the Air
21 Force --

22 MR. BHAT: I'm here.

23 DR. MECK: Okay, thank you, Ram.
24 Lieutenant Colonel Craig Bias is also from the Air
25 Force and has participated.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 In addition, the contractors are Scott
2 Hay, Carl Gogolak, and Nick Berliner.

3 To give you some -- are there any others
4 on the phone?

5 (No response.)

6 DR. MECK: Okay. I would prefer to answer
7 questions at the end of this presentation and it will
8 take about 30 minutes. The level of this presentation
9 assumes some familiarity with MARSSIM AND MARLAP and
10 the statistics of hypothesis testing.

11 To give you some background, the MARSSIM
12 is concerned with the measurement of radioactivity on
13 lands and structures and came out in 1997. It was
14 followed by MARLAP which is the measurement of
15 radioactivity in the laboratory and laboratory
16 protocols.

17 MARSSIM has a different scope. It is the
18 measurement of radioactivity associated with materials
19 and equipment. And its need was stimulated by the
20 feedback from the use of MARSSIM and the statistical
21 approaches that were developed in MARLAP.

22 Overall this suite of documents are aimed
23 at providing technically defensible and efficient
24 measure methods for radioactivity.

25 The purpose of MARSAME is to provide

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 technically defensible processes and methods and the
2 strength of MARSAME is that it is multi-agency
3 endorsed. Each of the authoring agencies endorse
4 these methods as technically defensible. It
5 quantifies uncertainties of measurements and serves as
6 a supplement to MARSSIM.

7 The scope is non-real property. The real
8 is in the sense of real estate here. And the
9 materials and equipment may be with or without
10 radioactivity. Examples of the kinds of materials or
11 equipment that are in the scope of MARSAME are listed
12 on this slide.

13 MARSSIM has similarities with MARSAME or
14 MARSAME has similarities with MARSSIM in that their
15 flexible approach is a graded approach. The surveys
16 use the data quality objectives process.
17 Classification of the materials or equipment to be
18 measured determines the intensity level of the survey.
19 And after the results are obtained, they are evaluated
20 using the data quality assessment processes. And a
21 separate decision is made for each survey unit.

22 There are also differences between MARSSIM
23 and MARSAME. Certainly the scope we've talked about.
24 The disposition options include not only release, as
25 MARSSIM includes, but it also includes interdiction.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 If, for example, you are not expecting radiation or
2 radioactivity from materials and equipment and you
3 want to detect it, it is the other side of the coin.

4 And an example of refusal to user accept
5 would be the cobalt-60-contaminated steel that arrived
6 at the gate of Los Alamos National Laboratory some
7 years ago. They refused to accept that because they
8 expected nothing there.

9 Difficult to measure radioactivity areas
10 are included as are sentinel measurements. Sentinel
11 measurements are most often wipes or smears. And they
12 can indicate the presence of radioactivity but they
13 are not taken to represent the absence of
14 radioactivity. So that is a one-way sentinel
15 measurement.

16 Scan-only surveys is a method that is
17 applicable for MARSAME but not MARSSIM.

18 I've prepared a handout taken from the
19 MARSAME document that has the similarities and
20 differences. It is information intense and doesn't
21 present well as a slide. I'll skip over that but we
22 can come back to it in the questions and answers as
23 needed. But the first page is the similarities and
24 then the next two pages are the differences between
25 MARSSIM and MARSAME.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MARSAME processes follow a logic flow that
2 is similar to that of MARSSIM. The chapters are
3 ordered in the order of the logic. And they are
4 listed here as initial assessment and development of
5 the decision rule, how you design the survey, what do
6 you do to implement it, and what are the results.

7 The case studies are actually examples of
8 how to implement this logic flow. And serve to
9 illustrate the processes.

10 We will be going into each of these main
11 chapter topics in the rest of this presentation.
12 There is a flow diagram in your packet that describes
13 the MARSAME process. On the left-hand side, you see
14 there are four major processes -- the plan, implement,
15 assess, and decide. And that's very similar to
16 MARSSIM. And so this is the logic flow in a flow
17 diagram format.

18 Going into this logic flow, the first step
19 which is a different one from MARSSIM, is to
20 categorize the M&E. It is different in terms but we
21 do characterize in MARSSIM in that we make a
22 determination is what to be measured impacted by
23 radioactivity or not.

24 And if there is no reasonable potential
25 for radioactivity to be associated with the materials

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and equipment, then it is considered not impacted or
2 non-impacted. And the way that those decisions are
3 arrived at are using visual inspections, historical
4 records, process knowledge, or sentinel measurements.

5 The disposition option can take several
6 forms. It can be a release, a different level of
7 control, or interdiction, as we mentioned earlier.

8 Moving on in the logic flow, the decision
9 rule development includes selecting the radionuclides
10 of concern, identifying the action levels, and the
11 action levels are the quantitative values that upon
12 which a decision hinges. It can be, for example,
13 5,000 dpm for 100 square centimeters would be an
14 action level.

15 Parameters of interest, an example of that
16 would be gross counts. This is what we are interested
17 in measuring.

18 The survey units are identified and the
19 inputs for measurement method selection are also part
20 of the decision rule development. The development of
21 the theoretical decision rule is an if-then statement.
22 For example, if the mean count is greater than the
23 action level, then the survey unit will be
24 dispositioned to Option A.

25 Designing the survey, the first step is to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 evaluate existing survey designs. And here there is
2 an emphasis on standard operating procedures. If
3 there is a standard operating procedure that meets the
4 quality objectives and the materials and equipment
5 meet the conditions of that standard operating
6 procedure, then it may be used. One does not have to
7 develop a survey design each time materials and
8 equipment are made. But rather we try to orient the
9 users towards the development of qualified standard
10 operating procedures.

11 If one does not exist, one develops the
12 survey statistics and the operational decision rule,
13 classifies the materials and equipment. Class 1
14 means that some counts are expected to be above
15 whatever the action level are. But statistically they
16 may not be enough to drive the mean above that action
17 level.

18 For Class 2, no measurement is expected to
19 exceed the action level. And Class 3 means that
20 radioactivity is not thought to be associated with the
21 materials and equipment, however, there is not enough
22 confidence to classify the materials and equipment as
23 non-impacted. And so this is the graded approach to
24 the measurements based on the classification.

25 Select and optimize the survey types,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 scan-only surveys can be made or in situ spectrometry
2 or a MARSAME-type survey which involves sampling and
3 scanning for the elevated measurements test. And
4 finally the survey design should be documented.

5 The survey design includes choosing the
6 null hypothesis and the decision error rates. In a
7 sense, the scan-only surveys are different from
8 MARSSIM. We'll focus on them for this presentation.

9 And here is where your familiarity with
10 the approaches of MARSSIM and MARLAP will come into
11 play. And that is for a given width of the gray
12 region, the relative shift can only controlled by
13 controlling sigma, or the standard deviation.

14 And that may have a measurement component
15 and a sampling component. For example, the sampling
16 component variation, σ_s , would be differing
17 amounts of concentration of the radioactivity on the
18 materials and equipment; whereas the measurement
19 component is a compounding source of uncertainty.
20 Segregation and classification may help in controlling
21 the sampling component of the uncertainty.

22 For scan-only surveys, if it is a Class 1
23 materials and equipment, 100 percent of the materials
24 and equipment needs to be measured. For Class 2, the
25 percentage can range from 10 percent to 100 percent.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And for Class 3 scan-only surveys, the scan percentage
2 could be ten percent or less.

3 The uncertainty of measurement denotes the
4 values that could be reasonably attributed to the
5 measurand. Now this statement derives from the guide
6 for expression of uncertainty known as the GUM. And
7 ISO and NIST documents use this approach.

8 And the overall uncertainty is well known
9 as the propagation of uncertainty. And this is an
10 abbreviated form of that equation. The full form
11 would have an added term that would take into accounts
12 the contributions of covariances to the overall
13 uncertainty. In typical situations that are
14 considered for a measurement of radioactivity, those
15 covariance uncertainties are negligibly small compared
16 to the uncertainties of other components of the
17 measurement.

18 In this equation, this portion is the
19 sensitivity factors. And the function would be the
20 theoretical model of how you convert the measurements
21 to an activity. A common one would be the number of
22 sample counts divided by the sample time, minus the
23 number of background counts, divided by the background
24 time for counting. And that difference divided by the
25 efficiency.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And so each of those five variables that
2 I just mentioned would be one of these Xs. And then
3 there's the uncertainty of each of those multiplied by
4 the sensitivity factor and summed. And then giving
5 you the combined standard variance.

6 There's a graphic that follows this slide
7 to illustrate the concept. So it is information
8 intense. But the minimal detectable concentration is
9 the concentration at which the probability of
10 detection is one minus beta. And when the detection
11 criteria is such that the probability of a false
12 detection in a sample with zero concentration is at
13 most alpha.

14 This illustrates what that statement said.
15 And it is an adaptation of Curry's illustration. The
16 adaptation part of it is that we have unequal beta and
17 alpha to illustrate that those do not have to be the
18 same. And it is important to note that on the
19 ordinate is the frequency of the measurement at the
20 net counts. And the net counts means that it is the
21 count of the sample minus the background.

22 And so naturally if you measure background
23 and you subtract background, you would expect a mean
24 of zero net counts. And what this illustrates is that
25 with a choice, this is something that the designer of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the survey makes is they choose alpha and beta. And
2 at alpha, if there is a true but unknown background
3 count that results in this level, as illustrated here,
4 then it would be counted as a sample count. That
5 would be a Type 1 error.

6 Beta is chosen as its small -- the sample,
7 true but unknown could provide a count in this area --
8 the darker shaded area -- and that would be a Type 2
9 error.

10 Beta determines where the critical level
11 is. And we're going to follow on to that. The mean
12 of this is also known as the minimal detectable
13 concentration.

14 MEMBER HINZE: Well, excuse me, but S_c ,
15 this is just a sample count --

16 DR. MECK: It's called a critical level.
17 And it corresponds with the setting of data or the
18 Type 2 error. So if one -- let me go back -- so when
19 one sets up the survey design, then a true but unknown
20 quantity of radioactivity would be right on the cusp
21 of -- or right in the center of whether it was
22 detected as a sample count or it was considered a
23 background count. I hope that helps.

24 What MARSAME offers here is -- and it was
25 discussed by Stapleton and Strong also -- that if the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 total background count is about 100, the Poisson
2 distribution assumption works pretty well. And for
3 these special conditions that are illustrated up
4 there, you see the familiar 2.71 plus 4.66 times the
5 square root of the background count.

6 However, if the total counts of
7 background are less than 100, the Stapleton
8 approximation works better. And for these same
9 conditions, the significant difference of those two
10 forms is that this constant term for determining what
11 is called the minimum detectable concentration is
12 about double that of the Poisson assumption.

13 The Stapleton approximation can be
14 generalized. It is more complicated, as illustrated
15 here. And we can move on from that to approaching the
16 question is radiation or radioactivity detected? And
17 this is intended to show you the relationship -- again
18 we have net counts on this scale and up here is the
19 MDC.

20 The net counts would have a mean of zero
21 for background. For true but unknown amounts of
22 radioactivity that correspond to this critical level,
23 the mean would be at that critical level. And the
24 relationship to the MDC is at a greater true but
25 unknown amount of radioactivity.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now the minimum detectable value or the
2 MDC should be used only as a measurement quality
3 objective for the measurement method. This is a tool
4 to determine if a method appropriate for the action
5 level that you are matching it to. To make a
6 detection decision, a measurement should be compared
7 to the critical value and never to the MDC.

8 If the action level is a quantitative
9 amount as opposed to a detection criterion, the
10 minimal quantifiable concentration, MQC, is defined as
11 the concentration at which the measurement process
12 gives a result of the specified relative standard
13 deviation.

14 Now what does that mean in a little bit
15 more lay terms? And that is for a given instrument
16 and measurement method, a true but unknown amount of
17 radioactivity equal to the MQC will give a
18 distribution of net counts with a mean equal to the
19 MQC and a standard deviation equal to ten percent of
20 the MQC. That's when we -- in MARSAME we talk about
21 ten percent. And we'll come to that and discuss that
22 a little bit more.

23 This shows the relationship of the concepts
24 that we've talked about and are explained in MARSAME.
25 This is a power curve drawn through here. The

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 critical value is here. And here is the minimal
2 detectable concentration at the upper bound of the
3 gray region.

4 The MQC is considerably greater than the
5 minimum detectable concentration. In fact, it is in
6 the order of ten times the multiple of the uncertainty
7 of the measurement.

8 The action level, the important thing is
9 the action level for a quantitative action level such
10 as 5,000 dpm for 100 square centimeters will be even
11 further out here because this is the amount that you
12 can quantify. And so the action level, if it is a
13 quantity of a concentration or activity, it should be
14 greater than the minimum amount that you can quantify
15 with a certain amount of confidence.

16 Well, this is the equation for the MQC.
17 And the eta here is the efficiency of the detector.
18 And the distribution -- this ten percent of the MQC
19 that I just mentioned is really driven by the value of
20 K_Q .

21 There is a reason that it is chosen as ten
22 in MARSAME and that is to provide comparability to
23 other studies of MQC and it also is a reasonable
24 distribution to quantify with -- you know, you are
25 controlling the uncertainty. It can be changed to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 some other percentage by changing this K_0 in this
2 equation.

3 This is another way of saying that the MQC
4 needs to be greater than -- or less than rather the
5 action level. It is a complicated thing to read but
6 in lay terms, that is what this means. We can come
7 back to this if you want to.

8 Once the survey is designed, segregate the
9 materials and methods as necessary, set the
10 measurement quality objectives, determine the
11 uncertainty, detectability, and quantifiability. And
12 select the instrumentation and the quality control
13 that are needed.

14 Once the data are obtained, the survey
15 results are assessed. And you conduct this data
16 quality assessment and compare the survey results as
17 appropriate with the upper bound of the gray region,
18 the upper confidence level, the sign test, the
19 Wilcoxon Rank Sum test, the Quantile test.

20 Those survey results are then evaluated
21 and you select the disposition -- where are the
22 materials and equipment going to go depending on the
23 options that you set out in the plan. And document
24 the results for disposition.

25 This is the final slide. The MARSAME

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Manual status, the manual went out for public review
2 and comment on January 16th. It was scheduled for a
3 90-day review. Events in the last two weeks indicate
4 that we are going to extend that review period one
5 more month until May 16th.

6 In the summer of this year, the EPA
7 Science Advisory Board and Radiation Advisory
8 Committee, which is a subcommittee of the Science
9 Advisory Board, will conduct a formal peer review of
10 the document. And once we get your comments, the
11 public's comments, and the SAB's comments resolved,
12 then we'll publish the final MARSAME.

13 Thank you very much.

14 CHAIRMAN RYAN: Bob, thanks.

15 Ruth?

16 MEMBER WEINER: Thanks very much for a
17 very enlightening presentation. I really didn't know
18 --

19 CHAIRMAN RYAN: There's going to be a test
20 on the statistics. You'd better be careful what you
21 say.

22 MEMBER WEINER: Yes, there's going to be
23 a five-minute quiz at the end of this.

24 CHAIRMAN RYAN: Oh, no, it's a full hour
25 exam.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (Laughter.)

2 MEMBER WEINER: I just have a question.
3 You've given a very clear explanation of counting
4 statistics. Could you also apply that -- this refers
5 to counts -- could you also apply that to any
6 measurement technique? In other words, would you
7 suggest applying this generally to techniques where
8 you measure any sort of radioactive emission, direct
9 dosimetry, anything like that?

10 DR. MECK: I believe so. The statistics
11 here are derived without the requirement that it be
12 radioactivity or even radioactivity on materials and
13 equipment. I believe that this math is generally
14 applicable.

15 MEMBER WEINER: The reason I asked the
16 question is we very commonly cite some kind of dose
17 standard. And the question is -- and you've answered
18 it -- are these statistics -- do these statistics
19 support that dose standard and to what extent to they?
20 I'm not asking you to answer --

21 CHAIRMAN RYAN: That's apples and oranges.

22 MEMBER WEINER: Well, that's my question.
23 Is it apples and oranges?

24 DR. MECK: Is it?

25 CHAIRMAN RYAN: My comment, Bob, was it is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 apples and oranges. This is to make disposition of
2 materials decisions.

3 MEMBER WEINER: Yes.

4 CHAIRMAN RYAN: Everybody involved is
5 wearing a badge or some kind of dosimetry. And that
6 is a separate issue.

7 MEMBER WEINER: Well, I was thinking more
8 of -- not so much of dosimetry. Perhaps I used the
9 wrong word. But we have a number of dose standards
10 that we apply. And I am fairly certain that they are
11 not backed up by any statistical analysis.

12 And I just am generally asking -- and
13 you've answered the question -- when you have a
14 standard like that where there is uncertainty in the
15 measurement that you're making, that you're basing
16 that standard on --

17 CHAIRMAN RYAN: Let me offer you a
18 thought.

19 MEMBER WEINER: -- if this kind of
20 statistics applies?

21 CHAIRMAN RYAN: Every dosimetry program
22 out there is backed up by an inter-calibration program
23 either under DOE lab or, you know, some version of the
24 laboratory accreditation program for dosimetry. So
25 there are a lot of statistics in dosimetry.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. MECK: Yes. I can give you a
2 generalization that applies across mathematics. And
3 that is if you comply with the assumptions that you
4 start out with, then the rest of it should follow and
5 applicable. And so without, you know, seeing if there
6 is a good fit for the assumptions that are behind
7 these statistics, then it is hard to answer very
8 broadly.

9 But, you know, in general, given the
10 assumptions that the statistics are based on --

11 CHAIRMAN RYAN: The real advantage to me,
12 Bob, is along those lines. But it boils down to the
13 same advantage of MARSSIM. And that is that if two
14 analysts go into two different rooms with the same
15 sample results, they are going to come out with the
16 same answer or the same disposition decision.

17 DR. MECK: I really believe that the power
18 of MARSSIM and MARLAP are that the multi-agencies
19 agree that if you do it this way, it is technically
20 defensible.

21 CHAIRMAN RYAN: That's the key.

22 DR. MECK: And it's not just --

23 CHAIRMAN RYAN: And reproducible.

24 DR. MECK: And reproducible. It's not to
25 say that there aren't other ways of doing it. But we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 can at least use this as a landmark of processes and
2 methods.

3 MEMBER WEINER: Thank you.

4 CHAIRMAN RYAN: Let me follow up with one
5 other question if I may. This gets the stuff in the
6 box ready to go. And it could be low-level waste. It
7 could be solid material that has nothing detectable.
8 Or it could be in that gray area where the steel
9 recycler is going reject it at the gate.

10 I guess you don't get into that I'm
11 guessing. I just want to make it clear for the
12 record, you're stopping at putting it into its final
13 characterization for sending it somewhere.

14 DR. MECK: This is a way to measure the
15 radioactivity associated with the materials and
16 equipment. Or the absence of radioactivity associated
17 with materials.

18 CHAIRMAN RYAN: But what you do with it
19 after that analysis is a whole new question?

20 DR. MECK: Exactly.

21 CHAIRMAN RYAN: I just want it to be
22 clear. You are stopping at that point.

23 DR. MECK: Yes, yes, yes.

24 CHAIRMAN RYAN: Okay.

25 DR. MECK: This is a technical manual and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 only a technical manual.

2 CHAIRMAN RYAN: And, you know, if it is
3 half as good as MARSSIM, in my view it is pretty good.

4 So, John?

5 MEMBER CLARKE: Thanks. I have some
6 familiarity with this from looking at non-
7 radionuclides in environmental media. And as you
8 noted, the statistics are the statistics. But I did
9 have a couple questions.

10 For example, if you are trying to quantify
11 the concentration of arsenic in soil, what we would
12 call the gray area would be between the minimum
13 detectable concentration and what the EPA calls the
14 practical quantitation limit, which is your MQC. And
15 that would depend on the matrix. That would depend on
16 if they were in water or air or a nasty oil sludge or
17 whatever because of the degree of difficulty in getting
18 there.

19 So the practice in that arena would be
20 that you really shouldn't quantify in that range. You
21 should be above that MQC. Although labs routinely
22 extrapolate calibration curves into that range.

23 The question I had is is there an effect
24 of sample size or the number of measurements? Because
25 it would seem that some of the constants in your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 equations would come from that. Is that correct?

2 DR. MECK: Certainly if in the survey
3 design there is what we would call a MARSSIM-type of
4 survey, there is a calculation that you would do to
5 see what is the sample size that you would need to get
6 the power in the statistics that you require. And, in
7 fact, in MARSSIM we say make it a little bit bigger
8 because invariably, some of the data that you take
9 will be disqualified when the quality assurance or
10 assessment comes along or something will go wrong.

11 MEMBER CLARKE: Life, for example, if you
12 were using small sample sizes, you'd be into t-
13 statistics and not, you know, normal distributions.

14 DR. MECK: Well, you may not end up with
15 the power that is required to make the decision.

16 MEMBER CLARKE: Thanks.

17 CHAIRMAN RYAN: Allen?

18 VICE CHAIRMAN CROFF: No, thanks.

19 CHAIRMAN RYAN: Bill?

20 MEMBER HINZE: Well, following up on Dr.
21 Clarke's question, it seems to me it is not only the
22 sample size but it is the sample distribution. And
23 that comes into play in the survey design. And what
24 kind of guides do you provide within this report in
25 terms of survey design?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I notice that you have 100 percent scan
2 for this Class 3-type of material. What is --

3 DR. MECK: That's Class 1.

4 MEMBER HINZE: Class 1, okay. Well, what
5 is 100 percent scan mean? And how is that involved in
6 the survey design?

7 DR. MECK: All right, 100 percent scan
8 means that if you are looking at or measuring
9 radioactivity associated with surfaces, that you look
10 or you measure all of the surfaces. You may have to
11 -- if you've got flat pieces, you may have to turn
12 them over.

13 MEMBER HINZE: Is that one measurement?
14 Or do you move the detector? I mean --

15 DR. MECK: The detector can move. In the
16 scan-only survey design, the detector or the material
17 say on a conveyor belt could move past the detector.
18 The one is moving relative to the other. Yes, that's
19 possible. But the 100 percent means that all of it is
20 measured, whether it is volume or surface.

21 MEMBER HINZE: Sometimes these materials
22 that you describe here are not regular in their
23 geometry.

24 DR. MECK: Correct.

25 MEMBER HINZE: And therefore, a single

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 measurement or even a few measurements may be totally
2 misleading. So in the survey design, is there a
3 built-in for this, your guidance?

4 DR. MECK: Yes, yes. The key would be --
5 let me for illustrative purposes say that suppose that
6 there is a situation where you've got pieces of scrap
7 metal and you've got concrete rubble. While the
8 guidance says segregate those out because your
9 uncertainty is going to be so great if you try to mix
10 those together that you will have to have a very
11 action level to make a decision on that.

12 But if you segregate it out, you can start
13 narrowing down the uncertainties or the standard
14 deviation of the measurements so that it will be a
15 smaller standard deviation. Another way of doing that
16 is process knowledge. And this is part of the visual
17 part that we were talking about.

18 If you know that, you know, some subset of
19 all the materials and the equipment were exposed to a
20 certain part of the process, then -- and they are
21 likely to have about the same associated amounts of
22 radioactivity on them, then it is reasonable to expect
23 that that may decrease the standard deviation so that
24 you would have a lot more success in terms of making
25 a decision about your action level.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER HINZE: Dr. Ryan pointed out that
2 an objective of MARSAME is if you have a set of data
3 and you put it into the hopper of DoD or DOE or
4 whatever, that you would come out with essentially the
5 same decision.

6 But I guess what I'm getting at is you
7 really start before the data is collected. And you've
8 explained that. And so what I'm trying to investigate
9 is how certain are we that DoD, DOE, EPA is going to
10 end up with the same data after evaluating rubble or
11 containers or waste? And are the protocols for the
12 survey design, the instrumentation, et cetera, are
13 these specific enough so that we would end up with the
14 same decision out here?

15 DR. MECK: MARSAME stops short of
16 developing standard operating procedures. But they
17 tell you how to develop a standard operating
18 procedure. And it is, you know, conceivable that
19 other agencies may have slightly different operating
20 procedures.

21 But the underlying statistics and the
22 decision about whether something exceeds or does not
23 exceed an action level should come out to be the same.

24 MEMBER HINZE: You also mentioned that you
25 had some case histories. Can you give us some idea of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what case histories you've used? And what you have
2 found from them? And what are the lessons learned?
3 And what are the lessons learned for the reader of
4 MARSAME?

5 DR. MECK: Well, it was an interesting and
6 difficult exercise to do a front-end loader with
7 uranium and --

8 CHAIRMAN RYAN: Start with an easy one,
9 Bob.

10 DR. MECK: There are easy ones in there
11 but I don't think you want to hear about the trivial
12 cases.

13 MEMBER HINZE: No.

14 DR. MECK: And so the first cases in our
15 hypothetical facility, a front-end loader is rented
16 from a rental agency. And you say well, do we accept
17 it on the site? And this is an interdiction design.
18 In a sense, we don't want any extra radioactivity come
19 in our site due to this front-end loader that may have
20 been used at another site. And so there is an
21 interdiction survey there.

22 And then after its use on site, then it
23 has to be cleared to be returned to the rental
24 company. And so this was a challenging one. The
25 lesson learned is that you can subdivide something

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 like a front-end loader. And you can take the front-
2 end bucket off and use that as a separate survey unit.
3 And make a decision on that as opposed to trying to
4 take the elephant all in one bite so to speak.

5 MEMBER HINZE: So the moral of the story
6 is that you have to break these into measurable units?
7 Physical units?

8 DR. MECK: It is to one's advantage to --
9 it is analogous to the segregation that I talked about
10 earlier. It is to one's advantage to keep that
11 standard deviation of your measurements small. And in
12 so doing, it may be easier to make the decision.

13 The other part of it is there may be
14 different decisions for different parts of the same
15 piece of equipment.

16 MEMBER HINZE: I'm taking too much time
17 but let me ask you a last question if I might and that
18 is these are -- MARSSIMS are very useful documents and
19 all and I use them. And one of my concerns is what
20 about their updating? Are there protocols? Your
21 Committee? Do you evaporate into thin air once it is
22 published and you have a website? You know what about
23 the user in terms of keeping things up to date?

24 DR. MECK: I'm glad you asked that.
25 MARSSIM, from the outset, was designed to be a living

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 document. And, in fact, it has undergone a couple of
2 revisions since it was first published. And the last
3 time we published it, we published it as a looseleaf
4 so that we could do individual page changes as opposed
5 to having to reproduce the whole document.

6 The development of MARSSIM and the
7 statistics, especially the Stapleton approximation,
8 should find its way back into MARSSIM. It's not in
9 there. And it would be an improvement in an updating
10 to MARSSIM.

11 The MARSSIM work group is, in a sense, a
12 grassroots work group. There were technical staff
13 that said, amongst themselves, that we can provide
14 technical information and provide technically-
15 defensible ways to measure radioactivity in various
16 arena. And so we have a charter. Is there a steady
17 budget item on any of the author agencies? I think
18 the answer to that is no.

19 And so in terms of long-term measurement
20 and upkeep and update, that is a concern. And we have
21 to, year by year, appeal to our managers to say this
22 is our project. This is what we need. We would like
23 a hunk of the budget.

24 MEMBER HINZE: Thank you, Dr. Meck.

25 CHAIRMAN RYAN: Bob, thank you very much.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And thank you, participants, on the phone.

2 With that, we are finished with our
3 morning session. And we will take our lunch break and
4 reconvene at 1:30. Thank you all very much.

5 (Whereupon, the foregoing
6 matter went off the record at
7 11:37 a.m. to be reconvened in
8 the afternoon.)

9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A-F-T-E-R-N-O-O-N S-E-S-S-I-O-N

1:29 p.m.

CHAIRMAN RYAN: Let's see. This afternoon's session we're going to hear about the scope and methodology of the Government Accountability Office, GAO's, ongoing review of the Global Nuclear Energy Partnership (GNEP) effort.

Cognizant member is Allen Croff. Allen, take it away.

VICE CHAIRMAN CROFF: Thanks, Mike.

10) SCOPE AND METHODOLOGY OF THE GOVERNMENT
ACCOUNTABILITY OFFICE (GAO)'S ONGOING REVIEW OF THE
GLOBAL NUCLEAR ENERGY PARTNERSHIP (GNEP) EFFORT

VICE CHAIRMAN CROFF: Our speaker today is Joe Cook. He's a senior analyst at the GAO. And, with that, I'll let you take it away and introduce the rest of your team members and then go for it.

MR. COOK: Well, I thank you for having us here today. In addition to myself, there is Chris Kunitz over here and Dan Feehan in Denver. And we're all working on this review of GNEP.

When I was thinking about how I opened this today, I recalled a meeting that we had at DOE a little while ago. And someone compared a GAO review to a root canal. I have had a root canal. So I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 thought that was a pretty good analogy.

2 The reason I bring it up now is because
3 it's sort of communicates why I think that we're here
4 today. We're at the beginning of our review. And we
5 have had a patient referred to us who might need a
6 root canal. And we have taken some X-rays. We don't
7 really know what to do or, actually, we do have a good
8 idea, but it's an important tooth and we don't want to
9 screw up.

10 And you all are our experts on this
11 particular tooth. So we want to share our X-rays with
12 you and get your ideas before we move ahead. So
13 hopefully my presentation will sort of generate
14 questions and comments.

15 And I am going to drop that analogy now
16 because it brings back a lot of bad memories. So,
17 anyway, I will say --

18 MEMBER HINZE: Not if you're a dentist.
19 Not if you're a dentist.

20 MR. COOK: My dentist had a very good
21 experience out of it. Yes, that's true.

22 I have attended two of your previous
23 meetings, where you talked about reprocessing. And I
24 think Dan listened in on one as well. And we have
25 reviewed some of the previous transcripts from last

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 summer. And it's all been very informative for us.
2 This is really a complex area. And it's been really
3 helpful to be back there and just listen and learn
4 about the complexities of reprocessing.

5 So it is really an honor to be here today.
6 I have prepared a presentation. I think it will last
7 about 20 or 30 minutes, which hopefully will allow for
8 comments and questions. I should emphasize it is
9 preliminary. We don't have any findings or anything
10 of the sort to share it. It really is a scope and
11 objectives of the review. So, with that, I will get
12 started.

13 The source of the review is the Senate
14 Homeland Security Permanent Subcommittee on
15 Investigations. This is who we are working for. A
16 request came in I would say about a year ago.
17 Obviously we get a lot of other inquiries from the
18 Hill, but right now this is basically our client.

19 Let's see. As far as the time frame for
20 our review, we're in what we call the design phase.
21 Typically a review lasts, I would say, about a year.
22 So that means that since we started approximately last
23 November, that we would have something finished by the
24 end of this year.

25 We have assembled a team, an immediate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 team, which includes Dan in Denver, myself, Chris, and
2 another person. And among all of us, we have quite a
3 bit of experience reviewing DOE programs, whether they
4 be nonproliferation, nuclear energy, Yucca Mountain,
5 a wide range of stuff; and then previous work
6 experience, for example, dealing with low-level
7 radioactive waste.

8 So we are not technical experts, but I
9 think in the immediate team, we definitely have a head
10 start on doing the review of this complexity. Then we
11 also have an extended team. For example, we have
12 GAO's chief technologist, who we're very lucky to
13 have. He actually previously worked at Lawrence
14 Livermore and knows quite a lot about reactors. So
15 that's good. And we also work, for example, with an
16 economist. And obviously GNEP raises a lot of issues
17 related to economics.

18 The original request from the Committee
19 was really broad. And I've listed just a few of the
20 things. I mean, of course, there are always concerns
21 about costs and technical challenges of any sort of
22 program involving R&D. And in this one, of course,
23 there are proliferation issues. And with GNEP, there
24 is a domestic component and an international
25 component.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And when we looked at that, we pretty
2 quickly determined that for purposes of our review we
3 would have to scope it down and make it manageable,
4 possibly leaving whatever we don't address right away
5 for a follow-on review.

6 And the key decision that we have made so
7 far is to say, "Okay. You can roughly divide GNEP
8 into a domestic technology development component and
9 international component." And it made sense to us to
10 look first at the domestic technology development
11 component, in part because, you know, that's what's
12 really on, you know, the plate right now in terms of
13 DOE going forward. And also to a large degree, the
14 way GNEP appears to be structured, the international
15 component would depend on developing domestic
16 capability to reprocess and burn transmutation fuel in
17 a non-fast reactor.

18 Obviously when you scope something down,
19 there are potential limitations to that. So, for
20 instance, something that might make sense when you are
21 looking at the whole broad program, if you just look
22 at one part of it that touches on maybe just a subset
23 of the objectives, you might be able to draw some
24 conclusions. But then you step back and you say,
25 "Well, there's another important component to this as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DOE has put this together." And we want to keep that
2 in mind.

3 So that's the case here, at least in terms
4 of how I look at it. So, with that, so far we have
5 developed three objectives. And I have slides on each
6 of these in more detail. Before I get into that,
7 there's in my mind a logic to the order of these
8 objectives.

9 And the logic is basically a time line.
10 For the first one you can think about "Okay. GNEP was
11 announced in February 2006. Before that, there was
12 AFCI. And that, in turn, evolved from some other DOE
13 programs." And under AFCI, DOE was evaluating a
14 number of different options as alternatives to the
15 status quo, advanced nuclear fuel cycles.

16 So then you get to February 2006. What's
17 the basis for narrowing down from all of those options
18 and choosing GNEP, which, you know, is a real very
19 specific strategy with specific technologies that
20 they're proposing or at least focusing on referenced
21 technologies, for instance, with regard to
22 reprocessing and having decided to focus on a
23 sodium-cooled fast reactor.

24 So that is the first objective. The
25 second objective is saying okay. Right now what can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we say about the technology maturity and then the
2 third objective looking forward, how is DOE planning
3 to advance that technology maturity and in general
4 advance GNEP?

5 Okay. So the first objective, this idea
6 of evaluating alternatives, to me at least, if you
7 look at the Energy Policy Act, which authorized the
8 advanced fuel cycle initiative, what it says to me is,
9 you know, it's pretty clear, evaluate different
10 strategies as an alternative to the once-through fuel
11 cycle.

12 And then if you look at various
13 congressional direction and committee reports and
14 whatnot over the last several years, there are
15 variations of that and one including, I think,
16 directed DOE to actually select an alternative. And
17 I think it was by 2007, but I could be wrong.

18 So that's really the basis for this
19 objective asking what is the basis for a genome. And
20 how I see we could go about getting an answer to that
21 question is there are a number of ways. You know, is
22 there a systems analysis that DOE did looking at the
23 different alternatives in terms of their long-term
24 implications for the fuel cycle.

25 Obviously there are policy decisions in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the one that comes to mind, I think we have probably
2 all heard quite a bit, is no separated plutonium. And
3 that's one example and then an analysis of trade-offs
4 and risks because obviously with this program having
5 multiple objectives, just from a logical standpoint,
6 you would think that it would be hard to maximize
7 achieving all of those objectives.

8 So the idea here is to look at whether DOE
9 had a reasonable basis for selecting GNEP from among
10 all of these alternatives. And to me reasonable,
11 that's a real potentially dangerous term. But I just
12 contrast it with optimal, that you're not necessarily
13 looking for something that is the best because that
14 would be hard to define but reasonable, sort of like
15 you know it when you see it.

16 Okay. On technology maturity, this is
17 actually a report that Dan has worked on and came out
18 last month. What we did is we looked at 12 DOE
19 projects, major projects or projects that were close
20 to being major projects and looking at the schedules
21 and the costs and found that nine of them had exceeded
22 their original cost or scheduled estimates.

23 So, in addition to ineffective project
24 oversight and poor contractor management, which comes
25 up a lot when you hear about DOE, one of the findings

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of the report was that -- and you'll have to excuse me
2 because I didn't write this report. So I'm not
3 familiar with it. But the DOE does not consistently
4 assess technology readiness to ensure critical
5 technologies will work as intended before construction
6 begins. And that lack of technology readiness can
7 result in cost overruns and schedule delays.

8 So the report recommended that DOE
9 consider using some type of system to assess
10 technology maturity similar to a nine-point scale that
11 is used by NASA and DOD, one being the least mature
12 and nine being the most mature.

13 So I don't know if you all are familiar
14 with that, but, as it turns out, AFCI, the advanced
15 fuel cycle initiative, even before this report had
16 started using these technology readiness levels. They
17 had adapted it from NASA and DOD with modifications to
18 fit AFCI.

19 For example, one thing that I think might
20 be unique to AFCI is that they divided it in threes,
21 so one to three, four to six, seven to nine as a more
22 general approach, with one to three being concept
23 development, four to six proof of principle, and seven
24 to nine proof of performance.

25 And then if you look at some of their

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 public reports, they have gone one step further. And
2 you'll see how they'll talk about it in terms of fuel
3 development, for example.

4 So our objective here is to get more
5 detail about exactly how is DOE planning to use
6 technology readiness levels under GNEP. And you can
7 imagine there are a lot of details when you start
8 scratching a little bit beneath the surface.

9 For example, to what extent has DOE
10 applied TRLs to the full range of technology that
11 would need to be developed under GNEP is one question.
12 And then there could also be a question of
13 consistency, both within the program and also
14 consistency with DOD and NASA because you could
15 imagine where if everyone is using a nine-point scale
16 and a seven at DOE means something different than a
17 seven at NASA or DOD, that would create confusion for
18 people like us on Capitol Hill who might want to use
19 this type of metric for evaluating a program.

20 So in talking about this with DOE so far,
21 I mean, it's clear that there are limitations to TRLs.
22 One that has come up is that assigning a TRL doesn't
23 necessarily, for example, tell you how much effort or
24 time is required to get from, let's say, five to seven
25 or whatever the case may be.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Another case that has come up is you could
2 have an artificially high TRL, an example being the
3 sodium-cooled fast reactor, which has been built in
4 the United States, but it has been along time. So you
5 have to then look at the infrastructure, both in terms
6 of people and just industrial infrastructure.

7 Okay. Our third objective deals with the
8 plan for advancing GNEP. I have listed just in this
9 first bullet here a few of the things that fall under
10 planning. This is really sort of bread and butter for
11 GAO.

12 You look at budget and R&D plans, in this
13 case leading up to the June 2008 decision. This is a
14 date that has come up a lot. I think you all have
15 probably heard it as being the next major milestone in
16 GNEP.

17 There is also the schedule for designing
18 construction of facilities and ultimately for
19 achieving the objectives of GNEP. We can also think
20 in terms of planning for NRC licensing. And we have
21 heard that there is a lot that goes into that as well
22 in terms of regulatory development rulemaking.

23 In terms of what we look for in a plan,
24 there are certain criteria. A really important one is
25 DOE order 413.3. This is the project management order

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that all DOE projects, as far as I know, certainly
2 major projects, are managed under. And it's pretty
3 detailed. They have five milestones ranging from
4 basic initiation to start of construction. And it's
5 really geared towards, obviously, design and
6 construction of facilities.

7 And then there are other things, like what
8 I have listed here, the OMB R&D criteria, which is on
9 their Web site. In looking at these, what we have to
10 do is say, "Okay. Well, where is GNEP in this
11 process?" because that really will determine what
12 criteria apply. In this case, GNEP has passed the
13 first of five milestones, what they call CD-0,
14 critical decision zero, approval of mission need. And
15 they are heading toward CD-1.

16 Well, when you think about planning, they
17 are not required to have a detailed schedule and cost
18 estimate until the third milestone, which is CD-2,
19 critical decision 2. So that's not something that
20 when we're looking at this and looking specifically at
21 planning, that we necessarily expect to see.

22 That said, you know, we have seen sort of
23 notional time lines showing the R&D and schedule
24 leading up to the start-up of facilities. So that's
25 something we're clearly interested in because that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 makes a difference when you think about GNEP, is how
2 do all of these facilities come online, how is it
3 phased, you know, the reprocessing plant, the advanced
4 burner reactor, and the advanced fuel cycle facility.

5 So I thought since you all are the
6 Advisory Committee on Nuclear Waste that you might be
7 interested in, well, what does all of this mean for
8 radioactive waste.

9 For objective one, one of the things that
10 you might think that DOE had analyzed looking at all
11 of the alternatives is the volume of waste, the
12 treatment and disposal options. We have heard a lot
13 about cesium and strontium and a lot of other things.

14 So that's the type of thing that we're
15 looking at here, not to necessarily get answers to
16 what is GNEP going to produce but how did DOE compare
17 all of this, specifically with regard to the waste
18 streams for reprocessing?

19 CHAIRMAN RYAN: Do you mind if I ask a
20 question here?

21 MR. COOK: Go right ahead.

22 CHAIRMAN RYAN: That is where the rubber
23 meets the road because if you don't know what is going
24 into what waste, you don't know if the system makes
25 any sense.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. COOK: I agree.

2 CHAIRMAN RYAN: Okay. We'll get them all
3 later, I guess.

4 MR. COOK: Okay.

5 CHAIRMAN RYAN: The patient is now
6 anesthetized, and we're ready to drill.

7 (Laughter.)

8 MR. COOK: Yes. We hope they have some
9 anesthesia.

10 (Laughter.)

11 MR. COOK: So technology maturity, this is
12 another example. You know, waste forms, you can think
13 of this technology bringing a system being applied to
14 waste forms and think about, "Okay. Iodine or
15 technetium." I'm just throwing out things that I've
16 heard about that -- what is the maturity of the
17 technology that you would need for that, not that,
18 again, we're necessarily going to determine that, but
19 how is this factoring in to DOE's planning? And that
20 leads very much into objective three. So okay. Now,
21 if this is the maturity of this waste form, what is
22 the plan for conducting R&D? What are the plans for
23 waste storage?

24 You know, again, cesium and strontium, we
25 have heard about that being stored for something like

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 300 years. Where would that take place?

2 This is a fourth objective that we have
3 only recently started thinking about, but I should say
4 thinking about in terms of including in this review.

5 We have all heard a lot, I think, probably
6 about the economics of reprocessing. And there has
7 been at least one hearing on the Hill looking at
8 exactly this issue. And so it's a really complex
9 area.

10 A lot has been written about it. And
11 initially it seemed like something, okay. This might
12 be a little too much to take on in an initial review.
13 But then getting into it a little bit more, we have
14 been considering, okay. Well, may be there is a way
15 we could include this in this review to at least find
16 out, well, how is DOE using economic modeling in its
17 decision-making on GNEP and what are the assumptions
18 that they are using as part of their modeling. And
19 that would seem to me to be pretty illuminating.

20 So, you know, I don't think it would
21 answer necessarily the question of, you know, what are
22 the economics in terms of does it cost more than the
23 once-through cycle definitively. That would be, I
24 think, a little bit beyond the scope of what we're
25 talking about here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So that pretty much sums up my
2 presentation. I would say that the scope of our
3 review is intended to focus on areas of immediate
4 significance, the technology development. The
5 specific objectives are intended to provide
6 information about the rationale behind GNEP, the
7 technology maturity, and DOE's plan going forward.

8 And, with that, if you have any questions,
9 I would be happy to answer them. And Dan is also here
10 by phone. And Chris is here as well.

11 VICE CHAIRMAN CROFF: Okay. Thank you.

12 Dr. Hinze?

13 MEMBER HINZE: Well, my question is pretty
14 well focused on nuclear waste. So let me focus on
15 that for a bit. We have had presentations in which a
16 considerable driver in the whole GNEP process is the
17 minimization of nuclear waste. Yet, we also hear and
18 perhaps only hear anecdotally that the volumes of
19 waste may not be decreased as a result of GNEP. So
20 the question that I have is, where is the waste
21 concerns in terms of the priorities in the objectives
22 of GNEP?

23 And let me put a corollary on that. If
24 waste is not important in terms of minimizing waste
25 through GNEP, what does that do to GNEP as a whole and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to the schedule for the GNEP?

2 MR. COOK: Well, I would say that from our
3 perspective, that the waste is very high priority in
4 terms of what we want to look at. There is a limit to
5 what we can do. We're not experts on that. And we've
6 even considered doing a separate review potentially as
7 a follow-on review, depending on how all of this
8 progresses, specifically on waste, from GNEP or
9 whatever other strategy DOE decides to adopt because
10 that seems like it could be a review in and of itself.
11 And maybe that's what you're looking at in your white
12 paper. I think those issues are really important.
13 And, if nothing else, it should be clear what we're
14 getting out of the bargain, so to speak.

15 To me, I don't see it as a silver bullet.
16 What I have learned about it and just common sense
17 says that you can't make waste disappear. There is a
18 price to be paid.

19 And I think we need to recognize that and
20 will recognize that in our review. Nevertheless, it
21 seems to me to be worthwhile looking at and saying,
22 especially when you are looking at alternatives, to
23 UREX-1A and recycling in fast reactors, to say, well,
24 what are the waste streams that are coming out of
25 this?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And what are the waste streams that are
2 coming out of the alternatives, whether it be -- I
3 mean, one thing that we have heard about is the
4 potential for thermal recycle. And perhaps that goes
5 against what GNEP is all about. But it still seems to
6 me that you would want to look at all of the
7 alternatives from every standpoint, including waste.

8 I don't know if that answers your
9 question, though.

10 MEMBER HINZE: It starts to approach it.
11 Certainly I think that anything that you could do to
12 focus on this problem and focus DOE on this problem
13 will be helpful to this nation. And speaking about
14 nation, let's discuss this a bit from the
15 international standpoint, which I also understand you
16 are thinking.

17 Obviously right at the first word, it's
18 global.

19 MR. COOK: Right.

20 MEMBER HINZE: And my understanding is
21 that one of the reasons for this is that we would be
22 a reprocessor of fuel that is used by other nations.
23 If I were a congressman sitting here, I would ask you
24 the question, does that mean that we're going to be
25 collecting other people's waste and having to store

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that on our SUS? Is that a problem?

2 MR. COOK: I completely agree, not that
3 that is an issue. In fact, we went to one of the
4 public scoping meetings for GNEP that have been held
5 around the country. And that is one of the things
6 that people are very concerned about in those
7 communities. It's not the maturity of the technology
8 or the economics of it. It's we don't want our --
9 this is something that you'll hear. This is just a
10 personal observation based on one meeting. We don't
11 want to become a nuclear waste site.

12 And, you know, that's for our own domestic
13 spent fuel. So then --

14 MEMBER HINZE: Yes. Thank you very much,
15 Joe.

16 MR. COOK: Yes.

17 MEMBER HINZE: I appreciate it.

18 VICE CHAIRMAN CROFF: Jim?

19 MEMBER CLARKE: Yes. I was going to
20 follow up on that, too, and ask you more about the
21 international piece. I was going to approach it from
22 the technology readiness standpoint. There's a fair
23 amount of history out there with some of these
24 approaches that are being considered, fast reactors
25 and their use in other countries.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I was wondering when that would feature in
2 to your analysis. That will be part of your analysis?

3 MR. COOK: I'm not sure I was completely
4 clear. I mean, in terms of scoping this down, at
5 least for now -- and this could change. I mean, this
6 is a preliminary scoping methodology, but we're
7 looking at the domestic part. And that's just for
8 practical purposes.

9 But clearly in assuming that GNEP goes
10 forward -- and I'm not saying this because I know
11 anything in particular, but that could change. I
12 mean, there could be a new administration that says,
13 "No. We don't want to do this."

14 But at that point, I would imagine that a
15 review of the international component would be almost
16 the next logical thing that we would want to do.
17 That's not a decision that I would make on my own but
18 it seems to me just logical.

19 And you mentioned technology readiness.
20 I think you could apply some of that same methodology
21 there as well because one of the things that they're
22 talking about developing is this new type of
23 grid-appropriate reactor, which, from what I can tell,
24 doesn't exist right now. And conceptually some of the
25 objectives they have for that sound to me to be pretty

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ambitious.

2 I have heard like, for example, you know,
3 refueling may be sort of in a battery approach, where
4 it's just very, very infrequent. So I don't know a
5 lot about reactors, but I imagine that can be
6 difficult.

7 MEMBER CLARKE: The other question I have
8 heard and I think the Committee may have heard,
9 although I'm not clear on that -- I suspect I heard it
10 somewhere else -- that Russia is pursuing a similar
11 kind of a venture. Is that correct? It may be a
12 different scale.

13 MR. COOK: I have read about that.
14 Really, I don't have a lot of information, but I think
15 there is something called -- well, it's almost the
16 same acronym, GNPI I want to say.

17 Well, you mentioned Russia. There's
18 another issue there
19 scoping that reminds me that, even for the domestic
20 part, the technology development from everything we
21 have heard really depends on international
22 collaboration.

23 The example that we have heard more often
24 than anything else is that the United States doesn't
25 have access to fast neutrons. And we're going abroad

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for that, now into France and then maybe later
2 someplace else, because the reactor in France is due
3 to shut down in 2009.

4 So. even as we scope this review, looking
5 just at the domestic technology development component,
6 there is an international aspect to that. And it's
7 very important.

8 MEMBER CLARKE: That really gets at my
9 first question. I think there's a fair amount of
10 history and a fair amount of information with using
11 these technologies in other countries and what worked
12 and what didn't work. I'm just wondering how that
13 would fit into your analysis.

14 Your slide does say "domestic and
15 international components," but it seems like what
16 you're saying is that might be in the next phase.

17 MR. COOK: Well, at least for the fuel
18 leasing part of it, I would say. But in the
19 technology development part in terms of developing
20 fuels for an advanced burner reactor, clearly there is
21 cooperation and collaboration required based on what
22 we have heard from DOE with France and Japan and
23 others.

24 And how that factors into our review, I
25 don't know that that is a criticism of DOE. It's just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a fact. It's something that we need to recognize and
2 take into account.

3 MEMBER CLARKE: Thank you.

4 VICE CHAIRMAN CROFF: Ruth?

5 MEMBER WEINER: I have a number of
6 questions. The first is that you're looking at
7 technological maturity. And I'm sure you and GAO are
8 aware that the United States had a perfectly good
9 operating fast flux sodium-cooled reactor and it would
10 shut down.

11 You may not be able to answer this now,
12 but many of us have always wondered why.

13 MR. COOK: Why it was shut down?

14 MEMBER WEINER: Why it was shut down,
15 dismantled, is in the process of being dismantled and
16 is basically gone, yes. Why?

17 MR. COOK: I don't know. I was ignorant
18 of all of this at that time. But my understanding is
19 that -- and I could be wrong -- that it was intended
20 as part of the development for the Clinch River
21 breeder reactor. Maybe I'm wrong. So I'm not going
22 to go any further.

23 I will say what I do know. DOE has gone
24 through a round -- this is public information, I
25 believe -- the public scoping studies. They have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 funded different groups. One of them is in Washington
2 state. And I believe that they have proposed
3 restarting the fast flux test facility.

4 How realistic that is I really don't know.

5 MEMBER WEINER: Go ahead. My suggestion
6 would be that in looking at the technological
7 maturity, this is just one example. A number of these
8 techniques have been or are being used as part of the
9 weapons complex. And I would suggest, you know, that
10 that is a place to start.

11 We have had a number of experimental
12 reactors at INL.

13 MR. COOK: Right.

14 MEMBER WEINER: And the fast flux test
15 facility just comes to mind immediately.

16 The second question is, these are
17 technical problems, really, the problem of making GNEP
18 a reality. What is the technical depth of your review
19 capability?

20 I mean, you mentioned you had some
21 connections with Lawrence Livermore. Well, how broad
22 a technical base do you intend to use for you reviews?

23 MR. COOK: We don't have backgrounds in
24 nuclear engineering or on the immediate team nuclear
25 physics. We come from diverse backgrounds. They are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 certainly relevant. And we recognize that this is not
2 a technical review.

3 I would say to me this raises a lot of
4 policy issues and planning issues and management
5 issues where we can bring expertise. We need to
6 understand these technical complexities. And that's
7 partly why we have made a point to come to previous
8 meetings, because that helps us get up to speed.

9 But we're not in a position to review the
10 intricacies of it. I think that's better left to you
11 all and the National Academies and other groups like
12 that. That's my opinion.

13 MEMBER WEINER: Well, then, do you have
14 any -- and this may be an unfair question -- idea to
15 what extent you are going to make use of technical
16 groups like ours, like the NRC itself, like the
17 National Academies, and so on? Are they going to be
18 heavily involved in this, slightly involved? Do you
19 have any sense of how much such groups would be
20 utilized in your review?

21 MR. COOK: Well, certainly to some extent.
22 I wouldn't say to a great extent, although I wouldn't
23 rule that out either. Sometimes what we'll try to do
24 in GAO is convene expert panels. And that is
25 something that I had considered. And maybe that is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 something that we could do in the future.

2 And so, you know, I don't know if that is
3 what you're getting at. If it is, that's part of the
4 purpose of this discussion, for us to take back ideas
5 and say, "Okay. Is this something that we might want
6 to do?"

7 But certainly, for example, if the white
8 paper that you all are working on comes out in a time
9 frame that can help us, that would be sort of a
10 minimum, where we would review that and incorporate
11 any of the findings or recommendations if that is what
12 it will have into our review and reference that.

13 Another good example is DOE has a nuclear
14 energy research advisory committee. And they put
15 their reports on the internet. And we have reviewed
16 those. These are people with technical backgrounds.
17 And we can review those and maybe even meet with them.

18 So I guess the answer is not definitive
19 but --

20 MEMBER WEINER: I would encourage you to
21 make use of expert panels, --

22 MR. COOK: Absolutely.

23 MEMBER WEINER: -- particularly in this
24 area.

25 MR. COOK: Okay. Expert panels.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WEINER: Yes. And I think this
2 would be a fruitful area.

3 My final question deals with
4 nonproliferation, which has been used as a rationale
5 for one or another GNEP directions. It seems to me
6 that it's a little late in the proliferation game to
7 use nonproliferation as a rationale for developing
8 GNEP, not that it couldn't help but that there's a
9 difference between that and rationale.

10 And, in particular, as I understand it,
11 part of GNEP is to say that the United States is going
12 to recycle the fuel and sell or give or somehow trade
13 back the fuel to other countries that have nuclear
14 power. Do you honestly think that any country that
15 has a nuclear establishment is going to go for that?

16 MR. COOK: Well, I have my personal
17 opinion. And, actually, I don't rule it out
18 personally. Clearly it's ambitious. In terms of our
19 review, at least initially I don't know that we can
20 address that.

21 I think it's a really interesting
22 question. And it would be interesting, too, for us,
23 if we could, to go to other countries or meet with
24 them in some forum, maybe if there was a conference at
25 IAEA or something like that, and talk with them.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I would love to do that. I don't know if
2 we will be able to.

3 MEMBER WEINER: Thanks.

4 VICE CHAIRMAN CROFF: Mike?

5 CHAIRMAN RYAN: Joe, I am going to give
6 you an award for the most colorful introductory
7 comments that got everybody's attention we've heard in
8 a long time.

9 (Laughter.)

10 CHAIRMAN RYAN: Thank you for a great
11 presentation. It really was great.

12 MR. COOK: Well, thank you.

13 CHAIRMAN RYAN: Having had a root canal,
14 I was a little sympathetic there at the beginning.

15 I'm going to try and give you some ideas,
16 instead of asking you a lot of questions.

17 MR. COOK: Okay.

18 CHAIRMAN RYAN: I go back and refresh on
19 1979 and the stopping of the reprocessing at Barnwell,
20 the commercial plant that was going to operate that
21 Carter stopped operating, and then look at what the
22 landscape was at that time.

23 There were 18 months of storage tank
24 capacity at Barnwell with no outlet defined for the
25 liquid waste that was going to be in those tanks. All

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the reprocessing waste in the United States, defense,
2 now in tanks, what are we going to do with all of
3 that?

4 So the waste to me is the driver of the
5 bus. We had a presentation from someone at DOE where
6 they talked about "Well, these would be the wastes.
7 And uranium oxide will be class C waste." And uranium
8 oxide is class A waste.

9 Why is it class C waste? Well, there is
10 TrU in it. How much? We don't know. Well, that
11 means it can be class A, class C, TrU, or spent
12 nuclear fuel based on how much of what TrU
13 radionuclide is in there.

14 So without a definition of what
15 radioactive material is in what waste reaction, you
16 don't know what is going to land where in the existing
17 regulatory scheme.

18 Now, I am not absolutely positive of this,
19 but I think I am right. Every country that deals with
20 reprocessing now -- I know it's true in France and
21 Japan -- has an intermediate waste category. We do
22 not. We have a low-level waste and a high-level
23 waste.

24 I'm not saying that's necessarily not
25 overcome-able, but that is a big difference in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 regulatory framework for how to manage a reprocessed
2 system. So I would think a little bit about that and
3 try and capture some of that, which leads me to kind
4 of maybe a different category.

5 How about regulatory challenges in your
6 list there in the first bullet on slide 3? You've got
7 subcommittees requiring cover a broad range of issues.
8 I think you need to think about the regulatory
9 structure and is it there.

10 The other thing that wasn't around in 1979
11 so much was mixed waste. That's much more mature 30
12 years down the line. When you take chemicals and mix
13 radioactive material, you've got mixed waste. What's
14 the outlet and process for all of that? What is going
15 to happen in plutonium oxide? Is that fuel or is that
16 waste?

17 Is France using all the MOx they're
18 producing? You know, I have not seen a balance sheet
19 that tells me all the numbers are going to work, even
20 at a gross level. And I always get a little nervous
21 when I see a GANT chart that has milestones down to
22 the month and it's 40 years long.

23 So I would urge you as best you can to use
24 panels, as Dr. Weiner said, or other technical
25 resources to maybe bore into some of these technical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 areas, particularly on tell me the constituents of the
2 waste, where they're going to be, what's going to be
3 in them, and where are they going to go.

4 You could end up with waste that have no
5 home at the moment and would have to go into a tank.
6 I don't think that would be a popular thing so much.
7 So that's one thing I would think about.

8 The fast reactor that Dr. Weiner mentioned
9 is a test reactor. It was not a production reactor.
10 France is the only one that's really and Russia, I
11 guess, but they're shutting them down.

12 Big material science questions we need the
13 fast reactors. So have they been solved? At every
14 step along the way, I leave at least a placeholder in
15 your thinking process and in the structure of your
16 analysis. What are the technical challenges at every
17 box along the way so you can at least, you know, have
18 a place to bin these questions as you go through?

19 And I really appreciate the fact that
20 you're looking at a giant apple, you know, and you're
21 trying to take a bite at what is an absolute flat
22 surface at this point to you. It's just a huge
23 complex kind of process over many decades.

24 So I'm very sympathetic to the challenge,
25 but I would dial out your structure a little bit and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 leave some placeholders, particularly on the questions
2 of waste, where it's going to go, how is it going to
3 be treated, how is it going to be disposed, and then
4 what are the flows through the system.

5 You know, if something doesn't come on
6 line for 20 years, 10 years, is that a big deal or is
7 that a showstopper or, you know, if we can't build a
8 fast reactor that meets everybody needs and
9 specifications, is that a problem or where are the
10 pitfalls?

11 Again, this is sort of hearsay. I heard
12 it as a comment that there was one proposal to skip
13 the detailed engineering step for a reprocessing
14 plant, the largest one ever made on the planet. And
15 we're going to skip the detailed engineering step?
16 Wow. That's special, I think. That's just me.

17 You know, when I'm going to do a little
18 carpentry at home, I mark it five times before I cut
19 it. I just don't see that as being a way to go
20 forward. So that would be a placeholder for me. No
21 detailed engineering? Big question.

22 So can you capture all of those things as
23 you go along? I think if you do, you're doing a
24 really good, honest job of raising issues that to
25 policy-makers as well as technical people would be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 helpful.

2 MR. COOK: Yes. I agree with pretty much
3 everything you were saying. In this slide number 8,
4 where I used the examples as --

5 CHAIRMAN RYAN: Could you flip to it so
6 everybody could see it, please?

7 MR. COOK: Sure.

8 CHAIRMAN RYAN: Thank you.

9 MR. COOK: Okay. So this is how these
10 issues relate, our objectives relate, to waste. This
11 was not just something that I thought up because I am
12 coming to meet with the Advisory Committee on Nuclear
13 Waste. These are things that we have really thought
14 about and would really like to know. I mean, I think
15 this gets at what you were saying.

16 CHAIRMAN RYAN: That's a big piece of it,
17 but add the regulatory structure piece. That's a
18 separate question.

19 MR. COOK: Yes.

20 CHAIRMAN RYAN: You don't know the answer
21 to that until you know the answer to objective 1. I
22 mean, they're interrelated.

23 MR. COOK: Yes. So the regulatory
24 structure is something that we have to think about.

25 CHAIRMAN RYAN: Again, the key difference

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is mixed waste is under the EPA side.

2 MR. COOK: Right.

3 CHAIRMAN RYAN: NRC has high and low-level
4 waste.

5 MR. COOK: Yes.

6 CHAIRMAN RYAN: Agreement states basically
7 take care of low. There is no intermediate category.

8 MR. COOK: I will say that we are very
9 lucky to have on our team someone who worked with the
10 low-level radioactive waste forum for something like
11 13 years.

12 So, from that standpoint alone, we're not
13 ignorant of this. Dan Feehan in Denver has done a lot
14 --

15 CHAIRMAN RYAN: Yes.

16 MR. COOK: -- on reactive low-level
17 radioactive waste. I realize that there is this,
18 actually, from coming here that I think that has been
19 raised before this issue of not having an intermediate
20 level and --

21 CHAIRMAN RYAN: I'm not saying it's
22 necessarily a problem. I just think that without
23 thinking it through carefully, are you leaving
24 anything on the table that doesn't have a home?

25 MR. COOK: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: And my problem is I don't
2 know enough about what radionuclides are going where
3 to know. Maybe it's all doable as low-level waste.
4 I don't think so, but do you then have to expand the
5 category for high or does it really make sense to make
6 it intermediate? I don't know.

7 MR. COOK: Okay. Well --

8 CHAIRMAN RYAN: The experience in the
9 world tells you that if they've got reprocessing,
10 they've got an intermediate category. Again, I'm not
11 saying that's the answer. I'm just saying that
12 without the detailed information, you don't know.
13 You're kind of without a rudder.

14 MR. COOK: Well, that sounds like another
15 good idea for us to take back and mull over, the
16 expert panels. Thank you.

17 CHAIRMAN RYAN: You're welcome. Thank
18 you.

19 Have at it.

20 VICE CHAIRMAN CROFF: Okay. I would like
21 to pick up on a few things I've heard around the
22 table. And, like Mike, I'm maybe going to stick more
23 to commentary than questions at this point.

24 First, to put a finer point on something
25 that Ruth said -- this is in response to one of your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 questions, Bill, and comes from my reading of all of
2 the GNEP literature and working on the white paper --
3 the stated intention of GNEP in terms of its
4 international structure is that countries like the
5 United States, so-called fuel cycle states, will make
6 low enriched reactor fuel, presumably LWR fuel for a
7 while but maybe others in the future. And that will
8 be leased to other countries for their reactors. When
9 it's burned, it will be taken back to the United
10 States and reprocessed, which means at the bottom line
11 that the wastes are going to end up here.

12 That's sort of part and parcel of it
13 because for the waste to end up there, you've got to
14 either reprocess it there or leave it there. I mean,
15 there are not too many ways out of that box.

16 You know, the debates ensue about who is
17 a fuel cycle state, who is not. And there is the
18 Russian IAEA thing and then the U.S. thing. And I'm
19 told there's a lot of dialogue there, but I don't know
20 what is happening. But the waste take-back or spent
21 fuel take-back I think is an integral part of it to
22 achieve their proliferation objectives.

23 Secondly, on the minimization of waste,
24 that is a quick or shorthand phrase for something that
25 can be interpreted more than one way. Most people

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 when they hear it think of minimizing waste volume,
2 but in the context of GNEP, that's not where DOE is
3 going.

4 What they basically want to do is minimize
5 the amount of troublesome radionuclides going to the
6 repository. And troublesome can either be
7 long-lived/toxic or heat emitters or a combination of
8 the two. And that's what causes them to want to go
9 after cesium and strontium and more of the actinides
10 for one or both of those reasons.

11 CHAIRMAN RYAN: And mobility.

12 VICE CHAIRMAN CROFF: Mobility has
13 something to do with it, too, yes. That's why they
14 want neptunium and technetium.

15 So what they are trying to minimize is a
16 set of impacts but not necessarily volume because for
17 the most part, volume isn't a problem for them. In a
18 repository, the heat is a problem. The heat causes
19 volume if I may call it that. I know that sounds sort
20 of crazy.

21 I'm glad the slide came back up. I wanted
22 to make a couple of points along the lines of what
23 Mike did, but I think I am going to come at it from a
24 slightly different vantage point. Looking at
25 objective 2 on technology maturity and using

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 technology readiness levels, in order to assess
2 technology readiness, you have to maybe have a
3 technology, but you have to understand what it's
4 required to achieve, the goal, if you will.

5 And in a lot of cases, a number of cases,
6 concerning reprocessing and recycle, we don't have the
7 goals. Let me give you an example: iodine removal
8 from an off-gas stream. Are we going to have to
9 remove -- is the decontamination a factor of 50, a
10 factor of 100, a factor of 300?

11 Depending on what that goal is, maybe your
12 technology is in hand from previous experience three
13 decades ago or you've got to go your way back down the
14 food chain and you've got to do a lot of development
15 work.

16 And, coming back to what Mike was talking
17 about, until you have a regulatory structure, which
18 means standards, EPA standards and/or NRC regulations,
19 you don't know what those limits are. And those were
20 not fully developed at the time. So you have got this
21 problem.

22 And, similarly, with respect to the waste
23 types, if you -- and there is sort of a chicken and
24 egg problem here. You know, one, you sort of know
25 things that might come out of the plant, but you can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 affect that by combining things or processing things,
2 separating things, different waste forms depending on
3 where it is going to go, the disposal technologies you
4 have.

5 And right now, as Mike was saying, we
6 don't have a complete set of disposal technologies for
7 the so-called intermediate or greater than class C is
8 probably what a lot of it would be called in NRC
9 space. There is an EIS ongoing, but I don't think
10 they're thinking about these kinds of wastes right
11 now. They're thinking more about what currently
12 exists.

13 And, again, the disposal technologies and
14 acceptance criteria or waste classifications affect
15 the waste that the plant could produce and might go
16 back and a plant designer look at that and say, "Well,
17 gee, if this is my disposal options, you know, I'm
18 going to combine this with this and separate that and
19 keep these apart" because that works out very
20 efficiently for me. So there's a circularity to it.
21 And, again, the waste disposal technologies really
22 aren't set up in anticipation of this.

23 Now, more specifically, on your sub-bullet
24 on objective 1, how did DOE analyze, Mike referred to
25 that one-page PowerPoint slide that's been shown many

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 times about the showing uranium is class C and some
2 other things that sort of raised my eyebrows at least.

3 In a briefing last week, a representative
4 of GNEP, I guess, came in. And he was asked
5 specifically to address what they were doing about
6 waste. This is GNEP now. And I was expecting the
7 same slide that we have all seen but got something
8 very different. It was a half-hour long, but the
9 bottom line of it is that the GNEP program is now in
10 the initial stages of developing an integrated waste
11 management strategy for GNEP.

12 In other words, I think that what we have
13 seen before was a placeholder. And they have heard a
14 lot of discussion of it and a lot of questions about
15 it.

16 And they have recognized the need to do
17 something systematic on the waste. So they have gone
18 back almost to square one and said, "Okay. What are
19 the wastes coming out of this? And how are we going
20 to manage them?"

21 And in response to question and answers,
22 what I heard was almost all options were on the table
23 in terms of what waste to combine with the forms of
24 the waste and this kind of thing. So it wasn't nearly
25 as specific as even that one viewgraph we have been

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 seeing.

2 From what I heard, it sounded like they
3 want to have that analysis finished around the end of
4 this calendar year, which might be particularly
5 inconvenient for you, I would guess. That is where
6 they were going.

7 So at the end of the presentation, there
8 was a plan to prepare a strategy but no specifics
9 whatsoever on what would be in it or any of the
10 answers. So that is where they left us on it, which
11 is a very recent slice of input.

12 I think, finally, concerning schedules, I
13 suspect you may be hearing from the Academy sometimes
14 over the summer, let's say, on their ongoing study.
15 And we are targeting our white paper to be complete
16 around the end of the fiscal year. And I'm certainly
17 going to strive to do that because going into the next
18 fiscal year gives us some problems.

19 So that is where we are headed. And, you
20 know, stay tuned. I think someplace in the summer, we
21 will probably have another session on GNEP to hear
22 comments on the draft white paper. And, of course, a
23 lot of the same old gang will be here, if you will.
24 And we will see what they have to say about it. So I
25 am sure that will be of interest to you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I don't think I have anything else. John,
2 do you have a question?

3 MR. FLACK: Yes. I have got two
4 questions.

5 VICE CHAIRMAN CROFF: Identify.

6 MR. FLACK: Yes. John Flack, ACNW staff.

7 Yes. Getting back, I guess, to the
8 discussion, probably one of the objectives on this
9 list would be regulatory maturity. Of course, that
10 could drive the technical maturity. So you will be
11 looking at that as part of this study.

12 That was my one question. And I think you
13 said you were going to that to some extent. The
14 second question I have is, is there a relationship
15 between GNEP or how you look at GNEP with respect to
16 other initiatives that DOE, like Gen-4, like NGNP?

17 I mean, we are developing a technology,
18 sodium technology. And there's gas-cooled technology
19 being -- can this country afford to develop these two
20 separately.

21 Maybe one of the things would be to stay
22 with one technology and then sort of be on the
23 coattails of that technology. And do you take credit
24 for that when you rank it so that you're getting
25 synergism between some other program?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Although the technology still needs to be
2 developed, it can essentially capitalize on that
3 development. Is that part of your program as well, to
4 look at that?

5 MR. COOK: To compare with NGNP and --

6 MR. FLACK: Right, exactly. Fast gas, for
7 example, technology that keeps gas cooled.

8 MR. COOK: To me, it fits in this way.
9 And I'll go back to this slide here, objective 1. If
10 you look at -- and this is public. I'm not revealing
11 anything that any of you all can find out -- AFCI
12 documents, they have done for the past couple of years
13 something called a comparison report.

14 And one of the items, one of the
15 strategies compared on that report is the very high
16 temperature reactor, which is what they are planning
17 for the next generation nuclear plant.

18 So I look at it not so much as because
19 that is beyond the scope of our review to say, can DOE
20 support two development efforts? That's not what
21 we're looking at.

22 Maybe that's what the National Academies
23 are looking at in their review of the Office of
24 Nuclear Energy. But certainly the very high
25 temperature reactor is one of the options that AFCI,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from what I can tell, at least at one point was
2 considering.

3 MR. FLACK: It's out of the scope of your
4 study at this point, I mean, with respect to taking
5 credit for other things going on and in your study
6 that you may rank things higher because of that,
7 rather than doing them independently.

8 MR. COOK: Yes. That's an interesting
9 question. Right now it's out of the scope, but,
10 again, these comments were maybe that will change.
11 Maybe that is something that we need to look at.

12 CHAIRMAN RYAN: Joe, it might be useful in
13 your report to have a section or appendix or something
14 that says, "Things we didn't consider and why," at
15 least "Things we didn't consider."

16 MR. COOK: Absolutely. We won't have --

17 CHAIRMAN RYAN: You probably ought a
18 little bit more formal and thorough view of that so
19 that people won't say, "Well, they didn't think of
20 this" and you can give them why and tell them why
21 things were included. That would probably enhance the
22 report, I think.

23 VICE CHAIRMAN CROFF: Latif?

24 MR. HAMDAN: Yes. Thank you very much.
25 That was good.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 At the risk of repeating some of what has
2 been said, I, too, think that objective number two has
3 more to it. The technology maturity has to do with
4 technology that works.

5 You have recycling. But it also has to
6 look at the implementation and applications of the
7 fuel, transferring the fuel, to a frame concept,
8 teaching people how to do it there, at not just
9 economics but maybe cost as, you know, because maybe
10 economics will not do it.

11 You want to be in touch with a course and,
12 of course, they think about the waste, be it volume of
13 the waste or the waste the way Dr. Hinze and Dr. Croff
14 mentioned. So there is more to it, to mature
15 technology, than just reprocessing and creating the
16 fuel.

17 There is the application part of the
18 technology transfer and so on and so forth that you
19 will want to consider also. This is what it's for.
20 In other words, I didn't see it. You cannot really
21 completely evaluate the maturity of the technology
22 without considering the goals or the end products that
23 you really want to accomplish.

24 And that is in foreign countries, and that
25 involves transferring of fuel one way, transferring

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the waste back. There is cost involved. There is
2 impact of the waste, be it volume or impact. All of
3 these things need to be considered, it seems to me.

4 MR. COOK: Okay.

5 VICE CHAIRMAN CROFF: Ruth?

6 MEMBER WEINER: I just wanted to expand a
7 little bit on several comments that have been made.
8 And I would hope that your report would include or
9 your study would include a comprehensive look at the
10 pieces of this that DOE and others have done in the
11 past.

12 I mean, we have had high temperature
13 gas-cooled reactors. The EBR-2, the processing of the
14 waste from EBR-2, is a very unique and interesting
15 process. And I would think that you have at your
16 fingertips a whole area of technology that has already
17 been investigated. And I would encourage you to look
18 at that as part of your technological maturity review.

19 I have to agree with what Latif said.
20 There's a whole lot that goes into it besides just
21 developing the technique. There is, what do you do
22 then?

23 VICE CHAIRMAN CROFF: Okay. Anybody else?

24 CHAIRMAN RYAN: One last thought.

25 Somewhere along the line, somebody is going to ask

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about, what does this all cost?

2 MEMBER WEINER: Yes.

3 CHAIRMAN RYAN: And so far I've heard a
4 big, huge number, probably more money than is on the
5 planet. I don't know, but, like I said, 40-year GANT
6 charts are usually pretty expensive.

7 So somewhere along the line, somebody has
8 got to scratch a pencil on a paper and say, "Does this
9 make any economic sense?" I'll just leave you with
10 that thought. That's one of those things that you're
11 going to leave in that list of stuff you didn't report
12 on perhaps. Maybe you are.

13 MR. COOK: Okay.

14 CHAIRMAN RYAN: Fair enough.

15 VICE CHAIRMAN CROFF: Anybody else?

16 MR. FEEHAN: I had a question from Denver.

17 VICE CHAIRMAN CROFF: Go ahead, Dan.

18 MR. FEEHAN: If you guys can hear me? I
19 guess a question that I anticipated but I didn't hear
20 was something that sort of stuck in my mind. If you
21 look at the schedule for GNEP, mostly what they talk
22 about is fulfilling the mission.

23 They talk about when they would bring an
24 advanced burner reactor online, for example. But they
25 sort of leave it at that. And they don't talk about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they need 18 advanced burner reactors. And they
2 probably wouldn't start transmuting any fuel until
3 2050, something along those lines.

4 So there are a lot of out years that are
5 not on that time line. It already goes out 40 years,
6 but it doesn't go out far enough. So I guess the
7 question that I anticipated was if you look what they
8 have in mind for Yucca Mountain in terms of dragging
9 spent fuel out to the repository and then they start
10 putting it into a repository, how did that match with
11 now you've got to drag it all back out of the
12 repository because I'm going to start transmitting the
13 actinides from the spent fuel, which now resides
14 inside the repository?

15 CHAIRMAN RYAN: Good question, Dan. We
16 wish you luck trying to answer it.

17 (Laughter.)

18 MR. DIAS: What Ward Sproat mentioned here
19 yesterday is that if you think of the fleet of
20 reactors they probably plan to have -- and I think DOE
21 is talking about maybe three reactors to burn -- he
22 doesn't see, you know, the capability of actually
23 going back and retrieving this stuff out of the
24 mountain.

25 You're probably going to be busy enough

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 just with what is currently being produced or what
2 will be then produced. That's what he mentioned
3 yesterday.

4 CHAIRMAN RYAN: The concept, all that's
5 doable. In principle --

6 MR. FEEHAN: The question is that one of
7 the objectives with GNEP is to minimize the burden on
8 the repository.

9 CHAIRMAN RYAN: And you're asking when
10 they're going to do that.

11 MR. FEEHAN: That's the repository filling
12 up before you start burning oxidizers. You know,
13 there just doesn't seem to be a connection between the
14 two programs.

15 VICE CHAIRMAN CROFF: Dan, let me
16 elaborate just a bit. We did have Ward Sproat in.
17 And he was very forthcoming. I asked a question about
18 the connection between GNEP and the repository. I
19 mean, basically at this point they're incredibly
20 focused on the license application next year. I mean,
21 they know GNEP is out there potentially, but they're
22 just not thinking in that direction.

23 MR. FEEHAN: Right.

24 VICE CHAIRMAN CROFF: And my sense is if
25 it comes to that, you know, that's such a radical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 departure from the present course. It's going to be
2 sort of a whole new set of documents and ball game and
3 that kind of thing.

4 But they're just not focusing on it.
5 They've got this other thing. And it's pedal to the
6 metal to try to make it for them. So that is it.
7 They're very focused.

8 MR. FEEHAN: Well, it seems like this is
9 getting into our technical background and our lack of
10 our technical background. I think one thing that the
11 committees that we talk to on the Hill would probably
12 be interested in from our perspective is just a
13 scheduling question because if the people who are
14 trying to license the repository aren't really paying
15 much attention to a new plan to start transmuting the
16 actinides, then that's probably something that we
17 could contribute to without having a technical
18 background.

19 CHAIRMAN RYAN: Well, a couple of points
20 we have touched on that are relevant and one skipping
21 detailed engineering design for the largest
22 reprocessing plant that has ever been built, so maybe
23 not a first choice for me.

24 MR. FEEHAN: Yes.

25 CHAIRMAN RYAN: Second, I think the allure

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of GNEP is every bit of it. Every piece,
2 transmutation, fast reactors, reprocessing, has been
3 done somewhere in the Earth to one degree or another,
4 generally with a pretty good research record,
5 pilot-scale record, and even some production-level
6 record. But now we're going to take all of these
7 parts and pieces and stitch them together into a suit.
8 You know, that's a whole big other question.

9 So I wonder if we've got to be just
10 starting to think about it now as a system. How is
11 this going to work as a system? And that's your
12 question, Dan.

13 MR. FEEHAN: Yes.

14 CHAIRMAN RYAN: What is the systematic
15 behavior of lightwater reactors, reprocessing, fast
16 reactors, burner reactors, more reprocessing, fuel
17 manufacturing with actinides in it?

18 That's not a trivial matter. Is it
19 doable? Sure. Have we done tests? Sure. But how
20 much? Where?

21 MEMBER WEINER: If I could add a small
22 footnote. The schedule that we heard about for the
23 repository, which is, admittedly, already an
24 optimistic one, doesn't have the repository even
25 accepting fuel until 2017.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And as long as the repository is open and
2 at least until a fair amount has been filled up, the
3 material is retrievable. In fact, that's part of the
4 regulation is retrievability. So I think we're not
5 looking at suddenly on one day this stuff is put into
6 the ground never to be seen or heard from again.

7 I would encourage, as Dr. Ryan says, a
8 systematic approach that takes into account what
9 exists, including the plans for the repository.

10 MR. COOK: We haven't gotten into this a
11 whole lot with DOE, but my understanding is they have
12 a national technical director for systems analysis,
13 which, not having met with this person, I don't know
14 what it is. But I would imagine that this is exactly
15 what that person would want to be looking at, how many
16 fast reactors do you need, when do they need to come
17 online, how long is it going to take to transmute the
18 transuranic --

19 CHAIRMAN RYAN: What's the efficiency of
20 transmutation?

21 MR. COOK: Yes, exactly.

22 CHAIRMAN RYAN: What are the wastes that
23 come out of it, all that sort of stuff? So, you know,
24 all the questions about waste, all the questions about
25 efficiencies, all the questions about cost are every

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 single piece of this.

2 I mean, again, don't take my views as
3 negative. I'm trying to challenge it because somebody
4 somewhere along the line is going to ask for all of
5 these details.

6 VICE CHAIRMAN CROFF: I think at this
7 point we have run 15 minutes beyond our allotted time.
8 So I would like to thank you and your colleagues for
9 attending or listening in, as the case may be. And we
10 look forward to seeing you in a future meeting.

11 MR. COOK: Likewise.

12 VICE CHAIRMAN CROFF: Thanks.

13 CHAIRMAN RYAN: Thank you, Joe. It's a
14 really interesting session.

15 VICE CHAIRMAN CROFF: Thanks, Dan.

16 MR. FEEHAN: All right. Thanks.

17 VICE CHAIRMAN CROFF: Back to you, Mike.

18 CHAIRMAN RYAN: We are going to take a
19 short break, come back at 3:00 o'clock. And the
20 Committee will consider its letter writing and other
21 activities. So we will see you at 3:00 o'clock. And
22 we will close the record for the day here. Thank you
23 very much.

24 (Whereupon, the foregoing matter was
25 concluded at 2:45 p.m.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701