

**Official Transcript of Proceedings**

**NUCLEAR REGULATORY  
COMMISSION**

Title: Advisory Committee on Nuclear Waste  
167th Meeting

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Wednesday, January 11, 2006

Work Order No.: NRC-816

Pages 1-82

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON NUCLEAR WASTE

167TH MEETING

+ + + + +

WEDNESDAY, JANUARY 11, 2006

+ + + + +

The meeting came to order at 9:30 a.m. in room T2B3 of Two White Flint North, Rockville, MD. Michael T. Ryan, Chairman, presiding.

PRESENT:

MICHAEL T. RYAN                   CHAIRMAN

ALLEN G. CROFF                   VICE CHAIRMAN

JAMES H. CLARKE                 MEMBER

WILLIAM J. HINZE                MEMBER

RUTH F. WEINER                 MEMBER

ALSO PRESENT:

MICHAEL SCOTT                   DESIGNATED FEDERAL OFFICIAL

ASHOK C. THADANI               DEPUTY EXECUTIVE DIRECTOR

LATIF HAMDAN                   STAFF

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

I-N-D-E-X

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

Opening Remarks by the ACNW Chairman

Chairman Ryan . . . . . 3

Source Characterization (Spatial Analysis and Decision Assistance Code)

Mr. Powers . . . . .

Use of Dedicated Trains for Transportation of High-Level Radioactive Waste and Spent Nuclear Fuel

Ms. Sampson . . . . .

P-R-O-C-E-E-D-I-N-G-S

9:32 a.m.

CHAIRMAN RYAN: All right, if I could have your attention. Good morning, the meeting will come to order. This is the second day of the 167th meeting of the Advisory Committee on Nuclear Waste. My name is Michael Ryan, chairman of the committee. The other members of the committee present are Vice Chairman Allen Croff, Ruth Weiner, James Clarke and William Hinze.

During today's meeting the committee will (1) be briefed by the staff on the capabilities of Version 4.1 of the Spatial Analysis and Decision Assistance Bayesian Subsurface Analysis Code. We will hear presentations by and hold discussions with representatives from the Federal Railroad Administration on the use of dedicated trains for transportation of spent nuclear fuel and other high-level radioactive waste to the proposed Yucca Mountain Repository. Three, we will brief the Commission on recent and planned activities. This briefing will take place at a different location in the Commission Briefing Room in 1 White Flint North. That will commence at 2 o'clock, and the schedule is from 2:00 to 4:00, for those that are interested. We will

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 discuss proposed committee letters and reports.

2 Mike Scott is the designated federal  
3 official for today's session. This meeting is being  
4 conducted in accordance with the provisions of the  
5 Federal Advisory Committee Act. We have received no  
6 written comments or requests for time to make oral  
7 statements from members of the public regarding  
8 today's sessions. Should anyone wish to address the  
9 committee please make your wishes known to one of the  
10 committee staff. It is requested that speakers use  
11 one of the microphones, identify themselves and speak  
12 with sufficient clarity and volume so they can be  
13 readily heard. It is also requested that if you have  
14 cell phones or pagers that you kindly turn them off at  
15 this time. Thank you very much.

16 Without further delay I will turn over.  
17 The two next presentations will be led by Dr. Weiner.  
18 Dr. Weiner?

19 MEMBER WEINER: Thank you. I'd like to  
20 welcome George Powers from the Office of Research to  
21 talk about the Spatial Analysis and Decision  
22 Assistance program that is being carried out by NRC  
23 along with a number of other federal agencies.

24 MR. POWERS: Okay, thank you very much.  
25 The last time I was here this program was just getting

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 underway.

2 CHAIRMAN RYAN: Do you have a lapel mic  
3 on?

4 MR. POWERS: Oh, I'm sorry. There, is  
5 that? Okay.

6 CHAIRMAN RYAN: That's great.

7 MR. POWERS: I can hear myself more than  
8 once. And it was started for several reasons, which  
9 we'll get to in a few minutes. But anyway, the  
10 primary purpose for getting into the involvement of  
11 this particular development was to try to pull  
12 together a more realistic and dependable estimate of  
13 exposure and the parameters leading to determining  
14 what that exposure is. And we elected to -- one of  
15 the problems we've run into in the past are the number  
16 of additional samples. There is an incredible amount  
17 of effort out in the field wasted on bad sampling,  
18 taken in the wrong place. So what we begin to do is  
19 begin to optimize the sampling and the analysis that's  
20 going to be involved.

21 Now, is it new? No. Argonne National  
22 Laboratory is kind of where we got our start on this.  
23 There's a guy up there by the name of Robert Johnson,  
24 and he has used his version of it, which ran on a Unix  
25 system, and that system is now just about dead. But

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the important point is is it's been applied at all of  
2 these sites on a piecemeal basis. You can look at  
3 your old slides on this one, but the only thing that  
4 I think is really of importance here is the savings  
5 that have occurred, like 40 - 80 percent sample  
6 reductions, 30 percent, 50 percent. Costs going from  
7 a \$40 million to an \$8 million cleanup effort. These  
8 are worthy of taking note.

9 The NRC, we will be talking about one  
10 particular little site that we're using as a test  
11 site. It's called the Kiski site. It's a very small  
12 little sample of data, but it was outstanding. We  
13 found out that we could have reduced the number of  
14 bore holes by 70 percent on that site, and at the same  
15 time reduce the sampling by 85 percent to get the same  
16 result. We'll go through that. We've got one we're  
17 starting to play with now just a little bit in the  
18 SADA framework, and that's Sequoyah Fuels. The  
19 interesting thing about Sequoyah Fuels is it's had so  
20 many holes poked into the ground that the underground  
21 -- the groundwater patterns have changed due to the  
22 holes.

23 We see the potential applications of SADA  
24 beyond decommissioning-type activities in the area of  
25 early site permits. A lot of sites are going to have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to reevaluate where they're going to have to put down  
2 wells up close, and there isn't any other code around  
3 or any other techniques around that is going to be  
4 capable of doing this without an incredible amount of  
5 expense. It's going to also assist, I think, in the  
6 operating license evaluations that are done, re-  
7 licensing, and to some extent partial site release.

8           The big issue is to, when you get into  
9 this, is to understand what the requirements are that  
10 you are going to be having to apply. A lot of people  
11 will go out and say 'Just bring me some more data and  
12 we'll take a look at it.' Know why you're collecting  
13 the data and what you're going to do with it. And at  
14 the same time be sure that you have a feel for what  
15 the uncertainties are, and how much uncertainty you  
16 can stand. That led to this sequence that has started  
17 here. In August 2000, a document came out by MARSSIM  
18 that was a combination of DOE, EPA, NRC, the Air  
19 Force, other parts of the Department of Defense, and  
20 it began to tie together sampling uncertainties and so  
21 forth based upon a two dimensional plane, going out,  
22 taking surveys on land down to about 15 centimeters,  
23 since that's where most of the dose modeling has been.  
24 In that process, one of the things that you got into  
25 was having to take a look at the instrumentation. How

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 sensitive were you going to have to be to make  
2 measurements, because the more sensitive your  
3 instrument the fewer samples you could take. You  
4 could go out with a Coke bottle if you wanted to and  
5 throw it on the ground, see if it turned brown in the  
6 morning. That takes too long if sensitivity isn't  
7 there. And MARLAP took care of the instrumentation  
8 side of it, and the laboratory side of it. And I  
9 think this is probably one of the finest documents  
10 that has been put together in a long, long time.

11 Currently they're working on the materials  
12 part of it. They're calling it MARSAME, and they've  
13 got it targeted for publication around 2007, sometime  
14 in there. Talk to somebody else about that. We have  
15 the subsurface one coming along. I am going to just  
16 call it MARSSub since it's easy to remember,  
17 subsurface. I prefer this one to BINMAR map, but  
18 never mind. And then we're using SADA to begin to  
19 answer some of these questions. We find that by the  
20 time we turn it over to the multi-agencies for review  
21 and so forth, if they have not been involved with the  
22 development, that a little bit of time is taken. But  
23 to review it, if you are familiar with the MARSSIM  
24 process, and the EPA, things like data quality  
25 objectives, knowing what you're going to do, why

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you're going to do it, what accuracy you're going to  
2 need in like data quality assessment. You start out  
3 with the DCGLs. You go through all of the modeling,  
4 like you may run into with RESRAD, and you have  
5 various components, survey units, release criteria.  
6 I think that's probably relatively self-explanatory  
7 for you.

8 An example that MARSSIM had, or came out  
9 and had an impact. There was a document out there at  
10 one time called 5849, which said go take a survey  
11 point every five meters across the site that you are  
12 working on. Here's some examples of what might have  
13 happened. RESRAD, for an example, will take a 10,000  
14 square foot area and model it. To do that, you would  
15 require something like a thousand samples. Football  
16 field, everybody can pretty well relate to that. That  
17 would be here. And you would need about that many  
18 samples to do, let's say, something like a football  
19 field here, around a hundred samples to sample an  
20 entire football field. What they didn't take into  
21 account was the sensitivity of the instrumentation,  
22 and how far away from your action guide that you were.  
23 The further you were away from the action guide, and  
24 the better your instrumentation was, a value called  
25 delta over sigma, which is distance from the action

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 point, and the variance of the samples you were taking  
2 would get larger. And so you could get exactly the  
3 same result. MARSSIM suggests to get around, a delta  
4 over sigma of around three. Look, we're only taking  
5 around 10 or 12 samples to get the same result with  
6 the same confidence that you did when you were taking  
7 a hundred. That paid off, and that has paid off on  
8 several sites big time. There's -- I just covered  
9 about an 8-hour lecture.

10           Sampling in the subsurface. When you get  
11 down below the 15 centimeters, some things begin to  
12 happen to you. Bingo, you lose the ability to scan.  
13 You can no longer take a meter and walk over in the  
14 way that we think about it with radiological things.  
15 So we had to find a way to design the survey, make it  
16 more efficient, and be sure that we didn't have any  
17 hidden assumptions. By the way, through a few of  
18 these I'll be just talking to the yellow points. I  
19 assume you can read the other stuff.

20           So the research areas that we're involved  
21 with right now is, a lot of it is dealing with  
22 optimization. Time and effort, which eventually boils  
23 down to cost. Want to improve the survey design.  
24 We're using site knowledge now, which is leading us  
25 into a Bayesian type of analysis. Take the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 information that you have now or in the past, and can  
2 it be applied to what you are doing. Is there any  
3 relationship between it and where the contamination  
4 might be. In some cases yes and in some cases no.  
5 Improved analysis. We're getting into geostatistics.  
6 In the area of geostatistics, most of you are  
7 familiar, or may have at least heard the term  
8 variogram. What it is is a -- I'll show you one  
9 later. We have the same thing occur subsurface. We  
10 have, let's say an elevated volume. In MARSSIM we  
11 were talking about the area, we had an elevated area.  
12 They both kind of have the same relationship and  
13 behavioral components. How are we going to get around  
14 all this? We're going to start using more and more  
15 surrogate data, and professional judgment. One of the  
16 things that a lot of the licensees got very upset with  
17 when MARSSIM started to come out is that their feet  
18 were being held to the fire on a design for a survey,  
19 and they didn't want to tie everything up on that one  
20 particular survey. They said, well we'd like to go  
21 out and look first. Well, the response was that's  
22 what's going on during the time you're doing  
23 characterization of a site. When you come to the  
24 final status survey, we want to be able to go out  
25 there and apply our statistics to it. So with taking

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 things like Bayesian and some of this, a little bit of  
2 this is going to be able to be relaxed just a little  
3 bit, and we're going to be able to probably get better  
4 results.

5 And reducing the number of samples is the  
6 big issue. Once you get into subsurface, it really  
7 gets out of control. Again, increase the information  
8 that we're getting from historical data, other  
9 geological data, and make more efficient use of the  
10 hard data that you have. That's numerical data that  
11 you can take and plug into a code. So I mentioned  
12 that.

13 One thing that is important is not all  
14 locations are going to be equally informative. When  
15 you go out and you do a random survey, you're not  
16 going to be getting the same information from those  
17 spots. Even if you have secondary information, you're  
18 going to have some areas where there may have been  
19 things like oil spills that are going to affect. You  
20 may have different geology. And that's where the  
21 geostatistics and geophysical information can come in  
22 and be used.

23 Okay, now we're going to run through SADA  
24 in rather rapid fashion. It has all of this pretty  
25 well built into it. We will touch on each one of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 these topics briefly, but it might be interesting to  
2 note that it has been supported by both the DOE and  
3 the EPA, and Version 3, which was about a year and a  
4 half, two years ago, had 11,000 downloads worldwide.  
5 Since January of 2005, when 4.1 was noticing to come  
6 out, we've had around 4,000 downloads. Now, that  
7 doesn't mean there's 4,000 people out there using it,  
8 but this is people that have actually logged on, I've  
9 got their email location, and date and time, and when  
10 they downloaded it, so we know who, where, and believe  
11 me it's worldwide. Side point: if you go to the  
12 website of SADA, which I think most of you can find  
13 relatively easily, go to the bottom of the homepage  
14 and there's a little number off to the left. Click on  
15 that number. It's a counter. It'll bring up such  
16 things as where it's been downloaded to, how many hits  
17 there have been on a site, from where in the world,  
18 and it's really been quite useful and informative.

19 Okay. Graphics. This has increased quite  
20 a bit. We can overlay GIS overlays now. And we're to  
21 the point where it really doesn't matter where these  
22 come from. They can come from AutoCAD, they can come  
23 from any -- Earthvision, what's the other one,  
24 Arcview. These are all can be moved back and forth.  
25 In any event, your data, you can take a spatial data

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 screen, look at your samples. You can pick out  
2 samples with given compounds if you wish, or levels  
3 that you're interested in. Survey units, this has  
4 been a big thing in MARSSIM. You can draw polygons  
5 around what you are going to make as your survey unit,  
6 and you, at the time when we talked to you the first  
7 time they were just getting started on this. We've  
8 gotten to the point now of where polygons can be drawn  
9 around all the survey units at once on your site and  
10 you can do comparisons.

11 Visualization. This is what we had when  
12 we talked to you the last time, and the camp that --  
13 showing a transparency through a thing. We've now got  
14 it to the point of where they can do all the neat  
15 slice and dice and cube. One of the important things  
16 with SADA is to present the data visually. That's its  
17 primary function. Keep the math, the science inside  
18 the machine, inside the process as accurate as you  
19 possibly can, and present the data graphically. You  
20 can get a lot of times much, much more information  
21 from a graphic than you can.

22 Okay, statistics that is available within  
23 it is overwhelming. There's univariate statistics  
24 that pretty much anything from mean, standard  
25 deviation, variances, a whole laundry list,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 histograms, all sorts of formations of data. You have  
2 the ability to identify your analytes that you're  
3 working with, detects the means, variances, pretty  
4 much all that type of information. And for those of  
5 you that have a little twinge into the EPA area, this  
6 thing is tied to the CASS database. In fact, that's  
7 where we're putting a lot of our stuff.

8 MARSSIM's in there now full blown. I'm  
9 not going to go through this, but what it does is as  
10 you go through MARSSIM, you are going to do things  
11 like select your DCGL, come up with number of samples,  
12 whether there's material and background and so forth,  
13 and the key is that as you go through it, it's going  
14 to tag whether you have completed all of that  
15 particular protocol as needed. Did you pick the right  
16 sensitivity of an instrument? If you didn't, it's  
17 going to bounce you and you'll have a little red dot  
18 out here. And it'll tell you exactly where to go to  
19 fix it. The layout of the SADA code is very, very  
20 much like your income tax program TurboTax. In fact,  
21 if you go on and start to use it you'll see an  
22 incredible similarity. The outline will come down in  
23 the first block, you'll do it, it'll bring out the  
24 information that you need, and keep it as you go on  
25 through. If you forget something it'll let you know.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           This is just going through some of the  
2 detail of MARSSIM. I don't think we really need to do  
3 this. This is a sign test. You had 18 samples  
4 required. They were using a Level 3. It bounds out  
5 the so-called gray region that you're going to be  
6 interested in. You're getting into, if you've got  
7 stuff in background, where you've got it in your  
8 sample and in your background, then you're going to go  
9 to a Wilcoxon rank sum test, and in that case you're  
10 going to have 18 survey units in your unit and in a  
11 background area that you're going to do a comparison  
12 on. So all the aspects are in there.

13           In the spatial analysis side of it, most  
14 of you are familiar with things like contouring, where  
15 you may have had a point here and a point, and you're  
16 going to try and find some position in between that  
17 you want to kind of draw an isodose curve. We do this  
18 also, but a little more sophisticated, and with a  
19 little bit more backup. I wish I could spend more  
20 time on what's going on here. Is there anybody that  
21 doesn't know what a variogram is? If not, see me.  
22 I've got a little quickie thing. I've got a whole  
23 presentation on variograms, it's about like that, but  
24 what it is, there's a point down here that's called  
25 the nugget. This is where your first point is. And

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 immediately around that point there's a lot of  
2 variability. So a lot of times this doesn't go  
3 through the point. Then you have the range. This is  
4 the range of where you have your variance. And then  
5 you finally have a sill. That's the end of it. That  
6 means that any information here, data that you have  
7 here isn't going to influence this over here. Data  
8 from here might influence that one from there, and  
9 that's what's going on in between. The better  
10 correlation you have, the slower the slope of the  
11 curve, and the further you can look down. So when you  
12 start looking at things like underground water  
13 movement, or material running on the ground and  
14 moving, you'll see a correlation. Let's say if there  
15 had been a flow this way, these all kind of seem to be  
16 related, and this'll turn out to be like this. If you  
17 go the other way, boom, this thing's going to go up  
18 and flatten out. And so we can put that into an  
19 estimation of it. And from that we can reprocess and  
20 come out and say, okay, where are the areas of  
21 uncertainty. We know there's no problem here. We're  
22 pretty sure we have material here, quite comfortable,  
23 and this is the area that we're uncertain about. So  
24 you start getting involved in determining the area.  
25 This is kind of like the latest -- one of the later

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 things that we just got into it. It's called a rose  
2 diagram. What it is is a color version of a variogram  
3 as you lay it down on a -- I don't know if anybody has  
4 ever generated a variogram by hand, but it is  
5 obnoxious. There is a lot of data that goes -- you  
6 have to take every bloody point on that site and  
7 process it, and then go to the next point and relate  
8 it to all the rest of them. And this goes on and on.  
9 And then that's usually in one direction. Here we've  
10 just rotated the thing all the way around. Under the  
11 -- so you have the processing, so you have a variogram  
12 which is equivalent to let's say a line through here.  
13 For example, here you have one that went up and  
14 dropped off. That would be a point -- okay, I'm  
15 sorry. As it goes on up higher, this is a bad fit.  
16 You don't want that. You have more of a relationship  
17 if the variance stays fairly low over a long distance.  
18 Okay.

19 We've built into SADA since we saw you the  
20 last time something over 21 sampling scenarios that  
21 are now available. You have the basic ones that  
22 everybody's familiar with, judgmentals, random, grids,  
23 variations of grids. Depending on who you are, you  
24 will select them. We have the MARSSIM design in there  
25 obviously. But we get into the situation of when you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 get ready to re-sample, going back in, taking a look  
2 at something. Then we have secondary sampling designs  
3 where you may go to the area where there was the  
4 highest variance, or you go to someplace like adaptive  
5 fill. Hey, we had a random thing, but there's an area  
6 in here we could take one more sample. It will  
7 calculate the best place for you to do that. The high  
8 value, and this goes on. Judgmental sampling. People  
9 like to use this on occasion. It has some pros and  
10 cons, but along the road is a real good example. A  
11 MARSSIM sample across this might not be that  
12 informative. Simple random. That's more like your  
13 MARSSIM.

14 Okay. Life is good until you start going  
15 down underneath into the ground, and you start wanting  
16 to -- how are we going to talk about 3D? What I see  
17 here, they call it 3D, I call it 2 1/2D. You've got  
18 stuff on the surface that you take. Okay, that'd be  
19 like MARSSIM. But now you're starting to go down, and  
20 you start placing your point of your result of which  
21 you're wanting all this whole area to be equivalent  
22 to. This is where people start homogenizing cores.  
23 And you can move it, and it'll assign values. I call  
24 that 2 1/2D. You can, this is in place now. What  
25 we're working on now is being able to take core scans.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 And when you start going into the third dimension, go  
2 back and think about that variogram, and now start  
3 putting it into the third dimension. That is going to  
4 really be an effort. But we've got a real, real good  
5 start on that. Searching for a hotspot. We have a  
6 program out there called Elipgrid, which determines  
7 how big of an area you're going to miss when you take  
8 samples over a long period of time in a given area.  
9 And we can now apply it to subsurface. We can put all  
10 sorts of little shapes down there that are standard,  
11 and look at what the probability is that you are going  
12 to hit or miss it. And this is where things like  
13 magnetometry, and some of these other concepts come  
14 in, because they can really narrow some of this down  
15 for you.

16 We can customize the criteria. You can  
17 get data, bring it in from regions, states, locally,  
18 and you can have all that data available to you, and  
19 bring it in, and process it, and relating it to what  
20 you're working on. There's a human health risk  
21 calculation in here, complements of the EPA. See, EPA  
22 funded this thing to the tune of, I don't know,  
23 several million dollars before we got a hold of it.  
24 And they've got all of this type of information in  
25 here, and there's a couple of sets of that. There's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 one slide in cutting the presentation, making it a  
2 little shorter. I had to cut one out that had kind of  
3 a cute little picture. Okay.

4 So from that you can develop things like  
5 health risk maps. Same thing on the radiological side  
6 of it. Where the risk is going to be the highest you  
7 can -- you have a site, you have areas where there's  
8 contamination on it, you can determine what the risk  
9 coefficient is going to be in various components on a  
10 particular site. We had points that were identified  
11 early on to take a look at.

12 And to decision analysis. This is the one  
13 that I think is probably going to be used quite a bit.  
14 You take the data, you have your various sampling  
15 strategies laid out. From these you can get spatial  
16 screens, and you can come up with risk based on space.  
17 Areas of concern. This is going to be areas that you  
18 might have to clean up. And we're working on  
19 techniques of minimizing this area. We've got some in  
20 there now that are quite good, but you can assign what  
21 is it going to cost to haul out a cubic yard, or X  
22 number of cubic yards of material. And we've got a  
23 little risk curve here that will -- risk/benefit that  
24 will tell you exactly what it's going to cost you to  
25 clean that site up so you can use it in the estimation

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 area.

2 Geobayesian modeling. Making use of soft  
3 knowledge, soft information, and combining it with  
4 hard data. And we fall into the area of geobayesian  
5 modeling. Ordinary kriging and indicator kriging are  
6 generally based on normal or log normal type  
7 distributions. Indicator kriging is the one we're  
8 finding more useful. We are having more and more luck  
9 with the application of non-parametric statistics  
10 because from our standpoint we really don't know what  
11 the distributions are when you walk into a site, and  
12 sometimes you never do. And we've found that through  
13 MARSSIM, that any errors that are made by using a non-  
14 parametric are usually almost unmeasurable. And  
15 people talk about modeling.

16 Let's talk a little bit about the Kiski  
17 site real quickly. This would be a prior knowledge  
18 type curve or plot that you would make. In fact, you  
19 actually sat down and said, there's X Y, and you drew  
20 a line here, and you said okay, everything inside  
21 here, we're pretty sure there's something there, and  
22 90 percent sure there's something here, and I'm pretty  
23 sure there's nothing out here. This particular range,  
24 I really don't know whether there's anything there.  
25 Now we're beginning to play some of the Bayesian game.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 So, there's where judgmental sampling would come in on  
2 something like this. You've got these sampling plans  
3 that you can use. But what happens is we're going to  
4 go around, we're going to try and take a few samples  
5 around this area of concern, some inside and some  
6 outside, just for confirmation. This is what the  
7 original data set looked like. The guys when they  
8 started on this didn't have this information. I asked  
9 them what they wanted, and we would provide them the  
10 data, and we would pull it out of the data set and  
11 give it to them. But, there were 1,261 samples in the  
12 shallow sediment, and they took over 90 boreholes was  
13 what had been done. And remember I said that we  
14 reduced the number of samples by 85 percent, and the  
15 number of boreholes by probably 70. And so this is  
16 what it all kind of looked like. And this is looking  
17 at it that way, and of course through the side. So  
18 what we're going to be looking at as we go through  
19 here is the analysis that's taking place at various  
20 layers. Okay.

21 From the judgmental sample, what we did is  
22 from that we went and said, okay, where is the closest  
23 real data point of a real data value they could use.  
24 We didn't want to go out and sample again. These red  
25 points show above the action guide, the blue points

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 below the action guide. This is on the surface. This  
2 is down around six inches. A little bit deeper. The  
3 red points are showing, again, above the action guide  
4 and those below. There's 130 total samples taken.  
5 And these were ran on each layer, and we came up with  
6 the variogram prior correlation model that came up and  
7 then began to drop off as you moved out at the end.  
8 And here's kind of what happened. With zero samples,  
9 yes, 0.6, 1.2 and 1.8 it looked like that. Did the  
10 sample analysis with 130 samples, and here's what the  
11 distribution looked like at the various levels. We  
12 doubled the samples. Let's go to 260 samples and see  
13 what kind of a change that would make. And a little,  
14 but not very much. Probably, depending upon the cost  
15 of the sample and where you'd want to do it. And then  
16 with all 1,260 samples available. Now, by being a  
17 little bit careful on where you took the samples and  
18 how you did the analysis, we think we can probably get  
19 by in this particular case with an evaluation of  
20 probably around 130 samples. When you're looking at  
21 the total impact there would be on, let's say material  
22 that might be left behind.

23           These are the areas of concern that came  
24 when we did the area of concern by looking at what  
25 percent of the areas above a given value. And again,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 there's not that much change between 130 to 1,260.  
2 There's a little larger area maybe, but not enough to  
3 spend another couple of million dollars. The metrics  
4 on this. This is the area of concern volume versus  
5 sample, number of samples, and the volume that you  
6 would let's say have to remove, which I was talking  
7 about. In 130 samples, Y around 2,000. 260, yes it  
8 went down some, and at 1,260 a little bit more. This  
9 becomes a weigh, do I want to or don't I. We have a  
10 percent change with the number of samples that we were  
11 involved with. And finally, the thing that we would  
12 be interested in, the percent that we would have  
13 missed. And after 130 samples there, the 130 sample  
14 things still look pretty good. Okay.

15 That brought up another interesting thing.  
16 This is using a geobayesian analysis. What had  
17 happened had you used something like your indicator  
18 kriging, the everyday analysis that people use, might  
19 use. This is the comparison between the two. The  
20 question comes up, now remember, indicator kriging's  
21 only going to use the data that's there. Either it's  
22 there or it isn't. Bayesian's going to start, and  
23 geobayesian's going to start making some assumptions  
24 depending upon what you've told it. So it doesn't  
25 drop off to a nice clean thing here. In this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 particular case I would have a tendency to recommend  
2 that you might want to kind of compare these two  
3 together in reality, just to make sure that things are  
4 still pretty close. Let me give you an example.  
5 There's a really good concept. You've really got the  
6 model right. And then you went out and you took your  
7 samples. You got a nice clean variogram, and your  
8 model came out looking pretty good. And that when you  
9 analyzed this number of samples. Let's say you made  
10 a real bad guess. Now you're going to see where  
11 Bayesian -- nothing's free. In the case of the  
12 Bayesian, here's your estimate, and here's your real  
13 data points. Here's somebody let's say trying to --  
14 well, we don't have anything here we're going to  
15 sample, and wind up taking a few samples there. And  
16 their analysis comes out looking like this initially.  
17 Says whoa, whoa, we've got some points up here that  
18 are -- look clean, and we've got this area starting to  
19 grow here, showing contamination. The impact of this  
20 is that you got to this solution let's say with 150  
21 samples. With 150 samples from this one you're going  
22 to get something that looks like this. To take enough  
23 samples to convince the Bayesian analysis that you're  
24 right, you're going to have to take 800 samples. So  
25 when people begin to use Bayesian analysis, a lot of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 care has to be taken in what they are going to use as  
2 their priors and their assumptions that they make.  
3 Like we're saying we don't want any undefined  
4 assumptions. So from our standpoint that's kind of  
5 good.

6 That pretty well covers it. However, I've  
7 got some slides you may or may not have. We've got  
8 the layering now so we can break it up into solid  
9 pieces, individual pieces, and we're starting to work  
10 on the third dimension of the kriging. We're getting  
11 further and further into the correlation models.  
12 That's where you start getting into things like  
13 cokriging, covariance, statistics of statistics, if  
14 you want to look at it that way. Here's a good  
15 example that Pierre Goovaerts pulled out. We do how  
16 to study here, or workshop here sometime ago, and this  
17 has been a real good example. Here you have rain  
18 data. Let's say you go ahead and do indicator kriging  
19 on rain fallout, looks like might come down looking  
20 something like this. You have another group of data,  
21 let's say by elevation. That would be a little  
22 mountainous area. And you combine eventually the data  
23 from the elevation and the data from the analysis of  
24 the rain, and you get a combination of how those two  
25 would fit together. And surprise, surprise, your rain

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is occurring in the higher elevations, but you're not  
2 stuck with this big mud ball, or big large area. It  
3 begins to define it a little tighter. And this is the  
4 effort that we're getting into on this next part of  
5 this project, is to be able to do this cokriging  
6 analysis, and covariance analysis in three dimension,  
7 and using additional data.

8 Now, I may have some slides you don't  
9 have. One of them being informed Elipgrid, getting  
10 into the subsurface. And we've mentioned that we've  
11 done things like we have lost the ability to scan  
12 unless we use something else. So we can't go out with  
13 a survey meter again. We're going to go out with a  
14 magnetometer. We're going to go out with ground-  
15 penetrating radar. We're going to look at the old  
16 plans. There's a trench here. Everything.

17 Another one might be or is geostatistical  
18 stimulation. We're bringing some people in from North  
19 Carolina on this. And it'll hopefully take -- what it  
20 does in short is it takes data that you have,  
21 processes it, assumes that's the starting point, and  
22 continues on for awhile until you come to some sort of  
23 a continued realization. There's not enough  
24 information to -- I don't understand it quite enough  
25 yet to get into it too far.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Another one that is quite useful is the  
2 concept of your ground-penetrating radar, and a few  
3 other things. These are the items that we are looking  
4 at for big gain, able to set up cokriging, co-  
5 analysis, to get a better handle on where the location  
6 of contaminants are. We can now -- or are working on  
7 getting photos to drape over the analysis area. One  
8 of the problems that we've got right now is if you  
9 have something with a mountain on it and you start  
10 slicing it, it gets extremely difficult to do the  
11 kriging and so forth on these sites because you have  
12 a little slice up here. But now we're trying to build  
13 it in so you can handle the surface geometry, which is  
14 going to be really important when you start getting to  
15 the underground configurations of the soil and so  
16 forth. There are codes out there that can do some of  
17 this stuff far better than we, but we've found that we  
18 can probably do -- have a much broader variety, and it  
19 doesn't cost the licensee anything. Some of the codes  
20 out there cost several hundred thousand dollars a  
21 year. In fact, SADA's being looked at by some of the  
22 oil companies. In fact, it has been used in South  
23 America already for a little bit of oil exploration on  
24 simple core analysis.

25 That's -- you've seen the variogram 2D.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 We're shooting to go 3D. And we're looking at that  
2 one as being really lots of fun because you don't have  
3 to go very far to have variability, a lot of  
4 variability in a short distance. And especially when  
5 you start taking -- well, that's just pretty much it.

6 This is in case some of you are wondering  
7 what Sequoyah looks like. Does anybody remember how  
8 many wells there are? All those black dots are a  
9 well, or a hole, or a sample point, or something like  
10 that that was a core. It's well over a thousand I'm  
11 told. And it was sufficient to change the groundwater  
12 pattern on the site. And we don't want this to  
13 happen, or I don't want it. That didn't seem like a  
14 very good approach. There's a lot of historical  
15 information and new information now that can be used.  
16 At the time, probably not.

17 And I believe that concludes my  
18 presentation. These were the ones that were dumped  
19 out. Thanks Ruth. We have a giant help file. We had  
20 a big long list of all the detail. Okay. All right.  
21 That's it.

22 MEMBER WEINER: Thank you. Ken?

23 MEMBER CLARKE: I do have a couple of  
24 questions, and maybe you could put that website back  
25 up again at some point so we could get it. But I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 didn't see anything that indicated that this package  
2 couldn't be used for both radionuclides and chemicals.

3 MR. POWERS: Oh, it's used for all of it.  
4 If you look at the --

5 MEMBER CLARKE: You have the EPA  
6 databases, IRIS and --

7 MR. POWERS: Yes. My advice to you is to  
8 go to the user's manual on the website. It's  
9 unbelievable. It has all the chemicals in the CASS  
10 database. It has -- radionuclides are almost a side  
11 note in it.

12 MEMBER CLARKE: Okay. Can you take us to  
13 the -- you had two health effects calculation slides.  
14 Can you take us to those? I don't know what numbers  
15 they are. They were kind of in the middle.

16 MR. POWERS: Yes.

17 MEMBER CLARKE: The ones that referenced  
18 -- well, let me just ask the question. You would go  
19 to the EPA database for the toxicity factors, the slug  
20 factors, the reference doses, and then you could  
21 select a pathway.

22 MR. POWERS: Right.

23 MEMBER CLARKE: And then you would  
24 construct and expose your pathway. And then you would  
25 construct and expose your scenario. The risk

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 assessment then, can that be done probabilistically as  
2 well as deterministically?

3 MR. POWERS: Yes. It's done in the EPA  
4 world. We're taking all of our dose calculations and  
5 everything from things like RESRAD. Like one of the  
6 features, or one of the things that we need is the  
7 thing known as the area factor, you remember? For  
8 radionuclides. Well, we can actually take the little  
9 spreadsheet that comes out of RESRAD and just pump it  
10 into here, and run through it. The EPA has been  
11 handling the chemical side of it. I didn't want to,  
12 you know, suggest that -- or spend too much time on  
13 it.

14 MEMBER CLARKE: Sure. Just to get to the  
15 bottom, I just -- we can construct different exposure  
16 scenarios based on different types of land use, and we  
17 can do the industrial versus residential versus  
18 recreational or whatever. If we were looking at a,  
19 you know, a particular future land use given that  
20 data. And you could do the risk calculation either  
21 deterministically or probabilistically.

22 MR. POWERS: Again, the human risk  
23 assessment part of it has been set aside and is  
24 handled in the EPA form, and has been tested and  
25 validated for their use. We have not jumped into the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 risk assessment because there is so much going on in  
2 this agency on ICRP, and a lot of it just, you know,  
3 we're trying to stay as far away from politics, I'm  
4 sorry, as we can, and stay as technical as we can.  
5 How they use it, you know, it's something else.

6 MEMBER CLARKE: Okay. And you'd said  
7 there are reports, additional details that are  
8 available that would be mentioned on the website?

9 MR. POWERS: Right. Yes. Let me see if  
10 I -- I'll tell you the easiest way to get to the  
11 website. Do a Google search on "SADA EPA" and when  
12 you see something that says TIEM, which is University  
13 of Tennessee, go there, hit their homepage, and you're  
14 in.

15 MEMBER CLARKE: All right.

16 MR. POWERS: The website is too long. I  
17 can't even remember it.

18 MEMBER CLARKE: Okay, that's good advice.  
19 Thank you.

20 MR. POWERS: Right, yes. And the -- we're  
21 getting a lot of information, and the books that we're  
22 using, or the information that we're using that's  
23 available to everybody. Probably some of you have  
24 seen this, but this is a good one to get started on.  
25 It's a nice little elementary book on geostatistics.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 A lot of the initial code came out of GSLive. So  
2 we've tried to keep everything that has a very good  
3 pedigree behind it, and a lot of this has gone through  
4 a fair amount of modification. And for those that are  
5 up to abuse, there's Kressy's book, which is --  
6 probably he and two other people in the world can  
7 probably read it and understand the whole thing in  
8 detail. But the one that we're focusing pretty much  
9 everything on is that by Pierre Goovaerts. He's been  
10 here, and he's going to be working on this next phase  
11 of it to some extent.

12 MEMBER CLARKE: Just one more quick  
13 question, just to clarify. The cost savings that you  
14 referenced where using this approach you could reduce  
15 the sampling cost by 40, 60, 80 percent, I assume that  
16 was within the same sampling program design as  
17 conducted originally. In other words, you didn't  
18 reduce the cost by going to a different design.

19 MR. POWERS: Now, a lot of these were fuse  
20 rad sites which had both chemical and there was an  
21 initial design as I understand in most cases put  
22 together, which was like a 58/49 type, every five  
23 meters, something like that. And then they got into  
24 the adaptive sampling aspects of it. And Robert  
25 Johnson was able to through this process reduce it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 We do have a little bit of a tweeky problem with the  
2 process, and it deals with when you're taking the one  
3 set of data, and going to put it with the hard set of  
4 data, when you go to calculate what the data value  
5 points should be at a point where there is a data  
6 value, the closer you get to it once in awhile you'll  
7 go into a negative correlation which just makes no  
8 sense. And so we're futzing around with that a little  
9 bit.

10 MEMBER CLARKE: Okay. Thank you.

11 MEMBER HINZE: Dr. Powers, you've covered  
12 a lot of material here in a very short period of time.

13 MR. POWERS: About 10 percent of what  
14 there is.

15 MEMBER HINZE: Well, let me ask you a  
16 question. It seems to me the SADA is really focused,  
17 as I've understood your presentation, on increasing  
18 the efficiency of surveying and analysis and to  
19 capture and evaluate the uncertainties in the  
20 measurements. How, is that approximately correct?

21 MR. POWERS: That's pretty close, yes.  
22 We're trying to optimize sampling where the least  
23 amount of information is needed to get the best  
24 result. Initial part of it is to visualize the data  
25 that you have. I consider that almost in some cases

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 as important as the analysis itself, because a lot of  
2 times you can look at something and come up with a  
3 solution that you probably wouldn't be able to do  
4 mathematically. But the mathematics is there is  
5 important.

6 MEMBER HINZE: That's right. How do you  
7 capture the uncertainties in the studies that are  
8 being made? For example, you showed us this GPR work.  
9 There are multiple interpretations of that.

10 MR. POWERS: Oh yes.

11 MR. PALM: Some of them are more credible  
12 than others. How do you capture the uncertainty in  
13 the interpretation?

14 MR. POWERS: The linkage between the  
15 things that are going to be doing covariance on and  
16 cokriging on is our next step. We're fully aware of  
17 the -- of how do I know what percent of this data is  
18 going to apply to this.

19 MEMBER HINZE: But there are uncertainties  
20 too simply in surface measurements. For example, most  
21 of the surface measurements are integrated with GPS  
22 for station location, for positional data. And  
23 there's uncertainty in those. How is that captured in  
24 all of this?

25 MR. POWERS: As far as location -- no,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that's a good question because we don't. I mean,  
2 we're starting out with samples. We're assuming that  
3 they've put the samples where they say they are. But  
4 I think you -- depending upon the amount of error that  
5 you have it's going to have an impact let's say in  
6 that particular case on things like shift, or.  
7 Hopefully the site that you're working with is going  
8 to have data that if you are off a little bit it's  
9 going to be irrelevant, or you know, the cliché is  
10 close enough for government work.

11 MEMBER HINZE: Well, you mentioned the use  
12 of individual judgment. Do you provide -- does any of  
13 this provide guidance on that?

14 MR. POWERS: That's what we're pulling  
15 together during this next part. We're hoping to have  
16 available within probably a year or a year and a half  
17 a NUREG where we're starting to get some of this stuff  
18 together on. In fact, if you're a biologist or a  
19 zoologist or somebody like that, you're familiar with  
20 binary classification. That's kind of the approach  
21 that we're going to take when you walk into a site of  
22 where you're going to start making a series of  
23 choices. And to determine what the error is that  
24 you're going to be required to handle. You're going  
25 to have to go in ahead of time knowing how much error

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 can I tolerate, and then you start looking at the  
2 systems that you're going to use, and hope that they  
3 get in there so you don't get into that situation of  
4 bring me another set of data and we'll take a look at  
5 it.

6 MEMBER HINZE: Thank you very much.

7 MR. POWERS: Yes.

8 MEMBER WEINER: Are there any burning  
9 staff questions? We have a few minutes. I don't want  
10 to cut into the next speaker's time too much.

11 MR. HAMDAN: It can wait.

12 MEMBER WEINER: Okay. Anyone in the  
13 audience? No. Then thank you very much. And I'm  
14 sure if people have questions they can come back to  
15 you.

16 The next speaker is here. I understood  
17 Michelle Sampson. Oh, there you are. Good to see  
18 you. I'll give George a chance to get all his vast  
19 data sets together. Our next presentation is by  
20 Michelle Sampson from the Federal Railroad  
21 Administration on the use of dedicated trains for  
22 transportation of high-level radioactive waste and  
23 spent nuclear fuel. So welcome, Michelle. It's all  
24 yours. Oh, sorry. He walked away with the mic. Do  
25 you want to use this?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. SAMPSON: I'll just use this. I'm  
2 Michelle Sampson, and I do work with the Federal  
3 Railroad Administration. We're one of the operating  
4 administrations from the Department of Transportation,  
5 and I am pleased to be here today to talk with you  
6 about our dedicated train study. The title of the  
7 study I believe Earl was able to provide a copy of the  
8 report to Congress to you. It is Use of Dedicated  
9 Trains for Transportation of High-Level Radioactive  
10 Waste and Spent Nuclear Fuel.

11 The first thing that I would like to  
12 discuss is a little bit of the history of the report.  
13 And I have to apologize to you right now. The expert  
14 on the history of this report is Kevin Blackwell with  
15 our office. He's been intimately involved with this  
16 report since its inception, and could probably answer  
17 any question about the many perambulations and changes  
18 that the report's gone through off the top of his  
19 head. I only joined the Federal Railroad  
20 Administration about a year and a half ago, and am not  
21 as familiar with the history of this report. As  
22 you'll see in a moment it's been ongoing for quite  
23 some time. I will do my best to answer questions for  
24 you. In the event that I don't have the information  
25 with me I certainly will take that information down

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 and make sure that we get back with you to provide an  
2 answer.

3 One of the keys to understanding the  
4 report to Congress is to know a little bit about the  
5 study methodology, some of the assumptions and  
6 decisions that were made at the outset, and how those  
7 impacted the study findings. We'll discuss the study  
8 findings, and then just briefly I'll talk with you  
9 about Federal Railroad Administration's path forward  
10 now that we have published the report to Congress.

11 As I mentioned this has been a process  
12 that's been ongoing for quite some time. The study  
13 was mandated by HMTUSA 1990. That public law had two  
14 specific requirements. It required the Federal  
15 Railroad Administration to perform a study that would  
16 compare the safety of dedicated trains to other  
17 methods of rail transport. That was due to Congress  
18 in November of 1991. It also required the Federal  
19 Railroad Administration, once the study had been  
20 completed, to take those findings into consideration  
21 and review FRA's existing regulations for safe rail  
22 transportation. We're a little late. Funding for  
23 the study was not appropriated until the spring of  
24 1992, and at that time Federal Railroad Administration  
25 identified VOLPE National Transportation Systems

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Center as a partner to assist us in preparing and  
2 conducting this study.

3 The study really was kicked off with a 2-  
4 day workshop in Denver, Colorado in September of 1992.  
5 That workshop was attended by representatives of  
6 potentially affected stakeholders, states, Native  
7 American tribes, the railroad industry, shippers,  
8 potential shippers of spent nuclear fuel and high-  
9 level radioactive waste. It was also attended by  
10 representatives from the Department of Energy and the  
11 Nuclear Regulatory Commission.

12 Utilizing the products of that public  
13 meeting, a first draft report was generated in  
14 February of 1993. That draft went into a review  
15 process within the Department of Transportation.  
16 Comments were provided to VOLPE. The VOLPE centers  
17 provided a series of revisions and updates to that  
18 report. The report has also been coordinated with the  
19 Department of Energy and the Nuclear Regulatory  
20 Commission. There have been several meetings between  
21 the departments to discuss the report, and get input  
22 from the experts within Department of Energy and  
23 Nuclear Regulatory Commission to assist us at FRA with  
24 our report.

25 In 2001 and 2002, a significant effort was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 made to update and revise the early 1990s report, and  
2 as we began to look at some of the assumptions and  
3 some of the findings of the report you will see that  
4 it does incorporate data through 2001. So it was  
5 significantly updated and revised in the interim. And  
6 at FRA we did publish a final report. The report is  
7 dated March, 2005. It was actually transmitted to  
8 Congress in September of 2005.

9 I mentioned understanding a little bit  
10 about the study methodology. The report to Congress  
11 that you may have had an opportunity to look at talks  
12 in some general terms about the study methodology, but  
13 there are a lot of basis and assumptions that affected  
14 that that are not fully discussed in that report to  
15 Congress. The study was required to do comparative  
16 analysis. We did comparative analysis on three  
17 specific types of train service, regular trains, which  
18 would be your general freight consist, key trains.  
19 That's an industry term for a train that is identified  
20 as hauling specific quantities of certain hazardous  
21 materials. The key train concept actually is a large  
22 part of the 2001 revision. As we begin discussing the  
23 key train you'll see it's based on a 2001 Association  
24 of American Railroads industry standard. And then of  
25 course dedicated trains. There's also a standardized

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 cask prototype, and the details of that cask impact  
2 the outcomes of the study finding. And a decision was  
3 made that representative routes would be selected and  
4 used for comparison.

5 I mentioned the first type of service that  
6 we reviewed was regular train service. Those are  
7 general freight trains. They operate at allowable  
8 freight track speeds, make numerous classification  
9 yard entries for making up the train, and certainly  
10 would haul other hazardous material freight along with  
11 the cask consist. Those trains are subject to the  
12 hazardous material regulations and of course FRA's  
13 rail safety regulations, but there were no other  
14 limitations or operational controls put on those  
15 trains. The study modeled regular train service as a  
16 generic 70-car train, and the cask consist was modeled  
17 as being directly in the middle of this train. One  
18 thing that I would like to note is that's the way it  
19 was modeled. In actual regular train service, the  
20 weight of the cask car and cask consist, train track  
21 dynamics would make that a poor placement for the best  
22 operation of the train. The optimal place would be  
23 near the front of the train to improve the train track  
24 dynamics and fuel efficiency of the locomotives. But  
25 it was modeled as being directly in the middle.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Key trains. We incorporated key trains  
2 based on a 2001 Association of American Railroads  
3 recommended practice circular. I've listed that here.  
4 That circular's been updated by the industry since  
5 2001, and has had some minor changes, but the key  
6 train that was modeled was based on the 2001 circular.  
7 For our study we determined that the only operating  
8 restrictions of the AAR circular that would impact our  
9 train was the speed restriction. In the operating  
10 circulars, trains hauling these specific hazardous  
11 materials are restricted to a maximum of 50 miles per  
12 hour, regardless of the authorized speed on the track.  
13 Other than the speed restriction, the key train was  
14 modeled as having the same length and configuration,  
15 and going through the exact same operating  
16 environment, the same number of yard entries, same  
17 passing restrictions. A key train would certainly be  
18 expected to have additional hazardous material freight  
19 as part of the consist.

20 And dedicated trains. In the study,  
21 dedicated train was modeled as a 6-car consist, two  
22 locomotives, two buffer cars, the cask car, and an  
23 escort car. In the discussion, all of the results and  
24 findings of the study are based on one cask car  
25 transportation. The operational limitations for the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 dedicated trains. Speed was restricted to 50 miles  
2 per hour. The dedicated train was assumed to be under  
3 a no passing rule which means that on mainline track,  
4 either the dedicated train or the other train would be  
5 moving only one at a time. The dedicated train would  
6 have priority to pass, and we would expect other  
7 freight consist trains to be standing still. That  
8 impacts the probability that the trains will hit each  
9 other in passing, and so the no passing rule is a key  
10 operational limitation. Also, because the key train  
11 does not have other freight cars, it would limit  
12 visits to classification yards. The number of yards  
13 that the key train would pass through would be reduced  
14 somewhat. The primary reduction is in the amount of  
15 time that those cars would spend in the classification  
16 yard because they would not need to be switched. They  
17 could pass through directly.

18 The cask description. As the study was  
19 envisioned, the number of casks and the availability  
20 of information on spent fuel casks that might be  
21 available, spent fuel and high-level waste casks that  
22 might be available, was more limited than it is now.  
23 At the time that the study was developed, the cask  
24 that was selected to be used for the study was 125 ton  
25 steel, lead steel, prototype cask. One thing that the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 report to Congress does not really make perfectly  
2 clear, both the technical study that supported that  
3 report to Congress, the NRC's cask certification  
4 criteria was established as an upper bound of the  
5 functional strength of the cask. That has certainly  
6 been a controversial decision as the report has gone  
7 through its reviews, but it is important to understand  
8 that that's a decision that was made up front in the  
9 way that the study was developed. In addition to  
10 those certification criteria, VOLPE and the FRA  
11 utilized Sandia's report, the NUREG 6672 which was a  
12 study of this cask prototype without impact  
13 delimiters, and that was used as input for the rail  
14 crash analysis. So those are important factors for  
15 how the report itself was developed.

16 I mentioned that the study is designed to  
17 be a comparative analysis. In order to do some type  
18 of comparison, the FRA and VOLPE needed to have some  
19 shipments to evaluate. A decision was made. Six  
20 routes were chosen. The origin points were selected  
21 from existing nuclear power plants and high-level  
22 waste repositories. The destination point selected  
23 for the study was the Yucca Mountain facility in  
24 Nevada. The goals of selecting the representative  
25 routes were to utilize the major east-west rail links,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and to select representative geographic locations and  
2 links for the transport itself. Those specific links,  
3 exactly how rail traffic would travel from origin to  
4 destination were determined using Oak Ridge National  
5 Lab's inter-line routing model. And those were just  
6 based on a most likely traveled route. There were no  
7 additional routing decisions incorporated into that.

8 This is a little small but not too bad.  
9 These are the six routes that were selected.  
10 Obviously the origin points are identified there. You  
11 can see the length in miles from that origin point to  
12 the selected destination facility. The population  
13 data for those routes is based on the 2000 census.  
14 That was updated in 2001. Just to note, the Routes 1  
15 and 6 are the shorter routes, and Route 5 is the  
16 longest route. As we began to look at some of the  
17 findings they're listed by route number, not by  
18 origin.

19 Utilizing those inputs. That's the basis  
20 for the study. The study itself performs a comparison  
21 of the radiation dose risk for each of the six routes  
22 under incident-free transportation and under  
23 identified accident conditions. In addition to that  
24 risk comparison study, the FRA began a preliminary  
25 consideration of operational safety. And the report

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 to Congress also incorporates those operational safety  
2 considerations that were identified by the FRA.

3 Our incident-free transportation  
4 comparison was calculated using Radtran with the  
5 assistance of Sandia National Lab. It took the six  
6 representative routes and other inputs that were  
7 decided and selected. The cask dose rate was assumed  
8 to be 10 mrem/hour at one meter. That does correspond  
9 to DOT's non-exclusive use limit. It does not  
10 correspond to any data on shipments that have taken  
11 place. It was simply selected as the cask dose rate  
12 that would be used for the study. The consist  
13 description, again I mentioned, 70 cars for a regular  
14 key train, and a 6-car consist for the dedicated  
15 train. That was input into Radtran along with the  
16 service type and speed limitations, the impacted  
17 populations from the 2000 census, and shielding  
18 factors for the type of area that the train would be  
19 traveling through, urban, suburban, or rural.

20 The results of the Radtran analysis were  
21 expressed as population dose and person rem. And  
22 those were converted into latent cancer fatalities  
23 utilizing the conversions of the NCRP report. We  
24 looked at those results and evaluated them by route.  
25 They're also evaluated by service and speed for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 comparison of dedicated train to regular train service  
2 to key train service. Also, by population type.  
3 Populations were broken down into various rail  
4 workers, members of the public. And we looked at the  
5 population doses for in-transit dose versus dose  
6 during stops.

7           And looking at the accident-related risk,  
8 again the goal is to compare radiological exposure due  
9 to the accidents in regular service, key train service  
10 and dedicated train service. The accident involvement  
11 probability, accident severity probability and  
12 expected consequences were identified. For regular  
13 train service, the study started with regular train  
14 service, and three event trees were constructed. The  
15 first was for movement on mainline track, the second  
16 was for consist movements within the yard and a  
17 separate third event tree was developed for fire  
18 events. Fire events of course could be an initiating  
19 event, or they could be the outcome at any node in the  
20 other trees, so they were handled separately. The  
21 Federal Railroad's existing Railroad Accident  
22 Information System was used to define and categorize  
23 those accident types. And the baseline accident  
24 probability was calculated for regular train transport  
25 utilizing data from 1988 through 2001. The total

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 number of accidents per year was normalized by  
2 dividing it by the reported train miles per year for  
3 each year.

4 The accident types that are contained  
5 within the FRA's accident database are derailment  
6 accidents, collision accidents, and there's a variety  
7 of different collision accidents that are tracked,  
8 crossing accidents, miscellaneous other accidents, and  
9 then the fire and explosion accidents. The accident  
10 severity for the mainline and the yard trees. The  
11 impact velocity for the accidents was identified to  
12 determine probability and severity, and for the fire  
13 event tree the severity as based on fire intensity and  
14 duration. The accident consequences were described in  
15 terms of the cask damage and the resulting radiation  
16 exposure.

17 For key trains, the baseline normal  
18 transportation or incident-free transportation event  
19 trees were modified to reflect the speed restriction  
20 to 50 miles per hour and the improved braking that  
21 would come as a result of that speed restriction. The  
22 probability for accident -- or the accident type  
23 probabilities were decreased only for the collision  
24 and obstruction accidents where speed was a factor in  
25 the accident, and for the highway, rail or rail-rail

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 crossing accidents where speed was a factor. Those  
2 were very minor decreases in the accident probability.

3 For dedicated trains, those event trees  
4 were modified to reflect the operational restrictions  
5 of the dedicated train. And as I mentioned earlier,  
6 there were significantly more operational restrictions  
7 for dedicated trains. The number of yard entries is  
8 decreased as is the amount of time spent in each yard,  
9 the consist length is far shorter, only six cars for  
10 the dedicated train, passing restrictions, the speed  
11 limit of 50 miles per hour, and the fact that no other  
12 hazardous material cars can be a part of the train  
13 consist. Those operational restrictions resulted in  
14 significant reductions in the accident type  
15 probability for all types of the accidents except for  
16 those accidents who are affected by train frequency.  
17 Clearly by utilizing dedicated train with only one  
18 cask per train consist, you are increasing train  
19 frequency. However, the number of increased trains as  
20 compared to the total train miles in the United States  
21 was so small there actually was no increase in that  
22 accident type probability. It had no change.

23 MEMBER HINZE: Excuse me, if I might. In  
24 terms of the operational restrictions, was the  
25 consideration ever given to excluding major urban

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 areas?

2 MS. SAMPSON: Not in this study. We did  
3 not look at that, no.

4 MEMBER HINZE: Why is that?

5 MS. SAMPSON: Unfortunately that is one of  
6 the questions about how the study was set up  
7 originally, and I was not involved in those decisions  
8 that were made. You may know more about it.

9 MEMBER WEINER: I can comment on that when  
10 we get through.

11 MEMBER HINZE: Okay. Thank you.

12 MS. SAMPSON: But no, it was not. The  
13 linkage, the route that the train was transported  
14 across from those origin to destination points was  
15 simply identified as a most likely traveled. It did  
16 not take any other factors into consideration.

17 The accident rates. After the event trees  
18 were developed, it was identified that the overall  
19 mainline transport accident rate for all of the  
20 accident categories and the yard accident rates were  
21 virtually indistinguishable for regular and key  
22 service. Again, the only operational restriction for  
23 key service was a reduction in speed to 50 miles per  
24 hour, and that did not make a significant impact on  
25 those accident rates. So as we look at the findings,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you'll see that for mainline and yard accident rates,  
2 regular and key service were combined.

3 The overall mainline accident rate for  
4 dedicated train service was only reduced by about 3.8  
5 percent less. However, the overall yard accident rate  
6 for dedicated train service was reduced by 75 percent  
7 less, and intuitively you would expect to see that  
8 type of a reduction because of the significant  
9 reduction in the amount of time spent in  
10 classification yards by the use of a run-through train  
11 instead of a train that had to be stopped, cars  
12 separated, train broken up and then put back together  
13 again.

14 I mentioned that cask damage and dose rate  
15 were utilized to identify the consequences. The FRA  
16 and VOLPE identified four accident severity  
17 categories. Category 1 was identified, an accident  
18 that resulted only in delay. That delay event would  
19 not result in any dose increase from the baseline dose  
20 of the cask, which as I mentioned earlier was assumed  
21 to be 10 mrem/hour at one meter. Accident Type 2's  
22 were those accidents that could result in a dose  
23 increase to 1,000 mrem/hour at one meter but no  
24 release of radioactive material. The third accident  
25 category were accidents that would result in loss of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 shielding or internal damage, and the dose rate was  
2 anticipated -- or dose rate was assumed to increase to  
3 4.3 rem/hour at one meter. The fourth category of  
4 accident would have been an accident resulting in  
5 release of the radioactive contents. That category of  
6 accident was analyzed to be equally unlikely for all  
7 of the shipping -- or was identified to be equally  
8 unlikely for all of the shipping options and was not  
9 further analyzed.

10 Dose accident consequences were calculated  
11 again using Radtran 5. Doses to the general  
12 population, rail workers and emergency response  
13 personnel were identified. The findings we'll look at  
14 in a moment. A Category 1 accident was determined to  
15 result in a 10 hour delay. The Category 2 and  
16 Category 3 accidents were looked at over a range of  
17 delays lasting between three and 72 hours. The  
18 accident comparison is between regular and key service  
19 combined with dedicated train service, because again  
20 the accident probabilities for -- or accident  
21 probabilities for regular and key service were  
22 indistinguishable once we finished the event trees.

23 After the determination of the person, rem  
24 and latent cancer fatality findings was completed, the  
25 FRA determined that there were operational safety

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 considerations that should be taken into consideration  
2 in looking at these different types of service that  
3 weren't fully addressed by just looking at the  
4 radiation risk of transportation.

5 CHAIRMAN RYAN: Can I just pick up a  
6 little follow-up question.

7 MS. SAMPSON: Sure.

8 CHAIRMAN RYAN: I'm troubled by the use of  
9 fatal cancer risks. The reason is is it's absolutely  
10 incorrect to apply a fatal cancer risk expectation  
11 value to an individual dose or to a dose to a small  
12 group. The idea of person rem here is meaningless.  
13 It's very conservative and just flat out wrong to use  
14 a cancer risk indicator for these small groups. So  
15 can you maybe give me some insight as to why you did  
16 that, or why didn't you just stick with dose? It's so  
17 much simpler and more accurate.

18 MS. SAMPSON: Unfortunately again I  
19 cannot, and I apologize.

20 CHAIRMAN RYAN: Okay.

21 MS. SAMPSON: You would have benefited by  
22 having someone who was more --

23 CHAIRMAN RYAN: And I don't mean to put  
24 you on the spot. I appreciate that, but I just wanted  
25 to, for everybody's benefit, point out that these

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 risks of fatal cancers are just flat out wrong. I  
2 mean, it's a misuse of an expectation value of a  
3 distribution. Thank you.

4 MS. SAMPSON: Yes. The study looks at a  
5 relatively small dose over a very large population,  
6 and then does use that to.

7 CHAIRMAN RYAN: We're on record on several  
8 occasions as a committee of pointing out that's just  
9 wrong.

10 MS. SAMPSON: However, there are several  
11 assumptions and decisions that were made at the onset  
12 of the study that resulted in the findings being what  
13 they are, and it is important to understand what those  
14 assumptions were because they do affect how the  
15 findings of the study came out.

16 MR. THADANI: Mike, also impact limiters  
17 were not considered.

18 MS. SAMPSON: They were not.

19 MR. THADANI: So that's significant.

20 CHAIRMAN RYAN: Sure. And I appreciate  
21 that additional point, but it's -- I think it's very  
22 important to recognize that, you know, a dose  
23 calculation doesn't automatically translate into a  
24 cancer risk calculation. It has to be done with great  
25 care, and even with -- well, I mean let's leave it at

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that. Thanks.

2 MS. SAMPSON: Taking into consideration  
3 comments that we had received on this study, and also  
4 FRA's review of the study, at FRA we felt that there  
5 were operational safety considerations that should be  
6 identified in looking at the differences between  
7 regular, key and dedicated train service, and that  
8 looking strictly at the radiation risk did not fully  
9 identify those operational safety improvements that  
10 could be realized. Obviously reduced time in transit  
11 and switching operations does reduce your radiation  
12 risk. However, avoidance of switching and the  
13 classification yard is a significant operational  
14 safety consideration. In looking at the accident  
15 data, a significant portion of accidents do happen in  
16 switching operations, and being able to completely  
17 avoid switching operations is a significant  
18 improvement to the operational safety for the train  
19 itself.

20 You have a reduced derailment and  
21 collision potential if you utilize some of the newer  
22 technology that's available. The electronically  
23 controlled pneumatic brakes that are available could  
24 be used on a dedicated fleet of rail cars, and the  
25 uniform consist significantly improved the train track

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 dynamics, and braking capabilities of that train,  
2 which of course make it far more safe operationally.

3 Other potential operational enhancements.  
4 If you're using dedicated equipment operated in  
5 smaller consist you have less wear and tear on the  
6 equipment. There would be fewer mechanical  
7 malfunctions anticipated for the equipment utilized in  
8 dedicated train service. You have a reduced risk from  
9 interaction of other hazardous materials in the event  
10 of a derailment or collision. The risk analysis -- or  
11 the radiation risk analysis took that into  
12 consideration in reducing the time that it took to  
13 respond to a dedicated train accident versus regular  
14 key service. However, the operational consideration  
15 there is the increased or improved ease of response to  
16 the emergency responders when they're only dealing  
17 with one hazard, the reduced amount of time that it  
18 takes to clean up a derailment if you have six cars in  
19 the consist versus 70 cars or more.

20 And in addition to the ECP brake  
21 technology that I discussed just a moment ago, there  
22 are additional potential engineering enhancements that  
23 could be utilized. ECP brakes require a  
24 communications backbone that links the cars, and  
25 various types of onboard defect detectors are being

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 tested, and some are in utilization, and with a  
2 dedicated fleet and a small consist those could be  
3 utilized quite effectively to improve the operation of  
4 the train.

5 If you have had a chance to look at the  
6 report to Congress you will see that the findings in  
7 the report to Congress were that the VOLPE study  
8 indicated that risk to the employees and the public  
9 from transportation of spent nuclear fuel high-level  
10 radioactive waste is low, but on a comparative basis  
11 dedicated trains appear to offer advantages over  
12 general consist. And if you have not had an  
13 opportunity to look at the report to Congress it is  
14 available online from FRA's website, which I have  
15 listed here. Our website is not the easiest to  
16 navigate, but the report's available under our safety  
17 publications links.

18 The report concludes that on a comparative  
19 basis that dedicated trains are safer. One thing I  
20 would like to provide is some of the numbers that back  
21 up that comparative basis. And one of the things  
22 that's important to recognize when you look at these  
23 numbers is dedicated train service is comparatively  
24 safer based on this, but the numbers are very, very  
25 close, and the numbers are very, very small. I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 mentioned the routes. Routes 1 and 6 were your  
2 shortest routes under normal conditions of  
3 transportation those have the lowest total person rem,  
4 which of course results in the lowest latent cancer  
5 fatalities. That's merely a function of the reduced  
6 time in transit. Less time exposed to the shipment  
7 results in lower dose rates. Route 5 I think was the  
8 longest.

9 CHAIRMAN RYAN: Just another follow-up  
10 question. I have to point out, I can't accept four  
11 significant digits. I see 0.1 or 2 as your total  
12 person rem, and I see something like, oh I don't know,  
13 pick a rounded off number, 4 times  $10^{-5}$ , and I would  
14 challenge anybody to prove to me that any of these are  
15 different, or any doses are different.

16 MS. SAMPSON: Yes.

17 CHAIRMAN RYAN: So I see one number.

18 MS. SAMPSON: And we'll get to that in a  
19 moment.

20 CHAIRMAN RYAN: Okay.

21 MS. SAMPSON: No, I do think it's  
22 important to realize they are very, very small  
23 numbers.

24 CHAIRMAN RYAN: Well, and it probably  
25 misrepresents your level of certainty to use four

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 significant digits. It's just not right.

2 MS. SAMPSON: The accident findings are  
3 very similar. As I mentioned, the regular and key  
4 train services were combined in looking at the  
5 accident findings. Where you see the R/K that's  
6 regular and key service, and D of course is the  
7 dedicated train service. For the accident events for  
8 Category 1 accidents the duration of the delay event  
9 was assumed to be 10 hours. There is some comparative  
10 reduction in the numbers for dedicated train service,  
11 but again, the numbers are very, very close. For  
12 accident categories or event Categories 2 and 3, there  
13 is more of a difference, but the overall numbers are  
14 still very small.

15 The issue you just alluded to is really  
16 when you look at these study findings, what the study  
17 identified is that non-incident risk from the entire  
18 shipping campaign. And we based our definition of the  
19 shipping campaign on the number of rail shipments  
20 identified in the Department of Energy's EIS. It's  
21 appreciably less than one latent cancer fatality,  
22 regardless of the type of service. That's the  
23 baseline finding of the study.

24 And that is -- oh, our path forward.  
25 Thought I was done. That is the finding of the study.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 FRA of course had a part two from the 1990 HMTUSA, and  
2 that was to determine if rulemaking is warranted. FRA  
3 is in the process of developing cost-benefit data  
4 associated with the dedicated train study. We're also  
5 reviewing the industry operating and maintenance  
6 standards that have been published post-study. Quite  
7 a bit of work has been done by the industry. AAR has  
8 updated the key train circular, which was mentioned as  
9 the basis for the 2001 incorporation of key trains,  
10 and also have developed a standard S2043 for equipment  
11 use for high-level waste or spent nuclear fuel  
12 shipments. FRA is reviewing those. And we also are  
13 actively interested in and reviewing Department of  
14 Energy and industry shipment planning documents. A  
15 determination of whether rulemaking is warranted or  
16 not should be made within the next 18 months by the  
17 FRA. We're also in the process of reviewing and  
18 updating our internal safety compliance oversight plan  
19 for shipments of high-level waste and spent nuclear  
20 fuel to ensure that FRA's internal inspection  
21 resources are focused where they can be most  
22 effective. And now I'm done. So any question?

23 MEMBER WEINER: Thank you very much.

24 We'll go around the table. Dr. Hinze?

25 MEMBER HINZE: I'll pass.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   VICE CHAIRMAN CROFF: Yes, I had one  
2 question. In reading the report that you're  
3 summarizing, if I understood it correctly near the end  
4 it basically said that most spent fuel or high-level  
5 -- I guess spent fuel mostly right now shipments are  
6 occurring by dedicated train right now anyway. Is  
7 that -- do I remember that correctly?

8                   MS. SAMPSON: That is the information that  
9 FRA has been provided on shipments of spent fuel that  
10 have been made is that the majority of them do take  
11 place by dedicated train at this time, yes.

12                   VICE CHAIRMAN CROFF: Okay. All right,  
13 thank you.

14                   MEMBER WEINER: Further comments? Jim?

15                   MEMBER CLARKE: Just one. Could you back  
16 up a couple slides? You had a couple of tables I  
17 think. Very, very close to the end.

18                   MS. SAMPSON: Just a moment. Be glad to.  
19 Were you interested in the accident table or the non-  
20 incident?

21                   MEMBER CLARKE: The final comparisons.

22                   MS. SAMPSON: Okay. This is the  
23 comparison of total dose.

24                   MEMBER CLARKE: Yes, that'll work.  
25 Actually the next one's probably better.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MS. SAMPSON: Okay. Yes.

2 MEMBER CLARKE: Okay. As Dr. Ryan said,  
3 we have problems with collective dose, and you know  
4 that so I won't go into that anymore. But if you look  
5 at the methodology that you used in the results,  
6 actually I want the slide, the one you had. It was  
7 one up. Previous.

8 MS. SAMPSON: Oh, okay. Certainly.

9 MEMBER CLARKE: Again, apart from the --  
10 as a chemist in a former life I don't like to see that  
11 many significant figures either, but it's not a unique  
12 problem. Those numbers look all pretty much the same.  
13 I mean, the regular and key were -- even though the  
14 key train had operational limitations compared to the  
15 regular it looks like the results were  
16 indistinguishable.

17 MS. SAMPSON: The operational limitation  
18 of 50 mile an hour speed restriction was  
19 indistinguishable by the time you transported it over  
20 several thousand miles.

21 MEMBER CLARKE: And even if you factor in  
22 reasonable uncertainties there doesn't appear to be  
23 much difference between the regular and key.

24 MS. SAMPSON: I think that's a valid  
25 conclusion.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER CLARKE: Is that a valid  
2 conclusion?

3 MS. SAMPSON: The study was of course  
4 conducted by VOLPE with FRA, and a decision was made  
5 early on that this was the method that would be used  
6 for comparison. At the conclusion of the study, as  
7 you can see, the comparison is that you have less than  
8 one. What FRA does believe is that there are  
9 operational considerations which do impact the safety  
10 of transportation. Clearly the technological  
11 enhancements that are available with the smaller  
12 consist. And it would not have to be a one cask car  
13 consist. You could have a number of cask cars in a  
14 dedicated train and still benefit by use of dedicated  
15 fleet of cars, and the communications backbone that  
16 would be available with the ECP braking, and  
17 additional onboard sensors for bearing defect and  
18 failures that really do enhance the safety of this.  
19 Clearly, limiting the number of cars in a derailment,  
20 and limiting the interaction of other hazardous  
21 materials during a derailment are significant  
22 operational enhancements, independent of the  
23 comparative radiation risk analysis that was done.

24 MEMBER CLARKE: That's really not risk,  
25 but you know, the comparison that you did. Okay,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 thank you.

2 MEMBER HINZE: While you have this up  
3 there if I may, my recollection is that Number 6 was  
4 Hanford as a source, and Number 1 was Humboldt, if I  
5 recall correctly.

6 MS. SAMPSON: Yes.

7 MEMBER HINZE: And there was quite a  
8 difference between the population density per line  
9 mile in 1 and 6, but the distances were relatively the  
10 same if I recall. And yet these numbers come up quite  
11 close. Does this mean that the population density  
12 along the line mile is really not a very significant  
13 factor?

14 MS. SAMPSON: I think I would defer maybe  
15 to Dr. Weiner, her familiarity with the Radtran  
16 program. And that's really a function of the Radtran  
17 program. She probably can speak to that better than  
18 I can. If that's?

19 MEMBER WEINER: That's fine. As long as  
20 you've point out, I'll make two points. The routing  
21 code that was used for this was INTERLINE, and it is  
22 really -- it's really more a function of the routing  
23 code than of Radtran itself. The INTERLINE uses  
24 existing railroad tracks and population densities  
25 within a half mile of the route. The existing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 railroad, the use of existing railroad tracks answers  
2 the question you asked awhile ago, which is tracks go  
3 from city center to city center. So if you try to  
4 avoid urban areas, you have a very, very long route.  
5 The second thing is that the longer the route, what  
6 almost any routing code will tell you is the longer  
7 the route, the more the results that you get look  
8 alike. And because you're integrating, you're  
9 spreading the population over a very long route, and  
10 on the average these become very close to the national  
11 average, rural, suburban and urban populations. And  
12 by the way, when you divide into rural and urban  
13 populations, the population divisions are also a  
14 function of the routing code itself. These were  
15 developed by Oak Ridge as part of the routing code, so  
16 that's why these things look alike.

17 I have to add my objection to four  
18 significant figures, and I already have transmitted  
19 this to the FRA people.

20 CHAIRMAN RYAN: Could you back up to the  
21 accident slide.

22 MS. SAMPSON: The one showing the numbers?

23 CHAIRMAN RYAN: Yes. Next slide I guess  
24 it is. In your accident cases, did you do a  
25 deterministic, you know, here's what happens, here's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the dose, or did you do a sampling, or a probabilistic  
2 analysis, or how did you arrive at 70.90 person rem?

3 MS. SAMPSON: The FRA's rail accident  
4 database was utilized. And utilizing FRA's historical  
5 rail accident database from 1988 through 2001, actual  
6 accident numbers were utilized to determine  
7 probabilities. Those numbers were normalized --

8 CHAIRMAN RYAN: That's the accident  
9 happening part. I'm talking about the consequence.  
10 How is that assessed?

11 MS. SAMPSON: The consequences are based  
12 on the cask performance dependent upon the information  
13 that we gain. What type of accident we identify that  
14 it would be, and then the cask response to that  
15 accident type. And Earl would like to speak up about  
16 that.

17 CHAIRMAN RYAN: It's deterministic is my  
18 question.

19 MR. EASTON: I think these accident doses  
20 are really based on emergency --

21 CHAIRMAN RYAN: And tell us who you are  
22 please.

23 MR. EASTON: Back again. Earl Easton with  
24 the staff. I think these accident doses were really  
25 based on the emergency response, and how long it would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 take, and how complicated --

2 CHAIRMAN RYAN: I'm asking a real simple  
3 question, Earl. I don't want to go through the  
4 scenario. Is it deterministic or probabilistic?

5 MR. EASTON: I think it's deterministic.

6 CHAIRMAN RYAN: Okay, that's what I wanted  
7 to know. Because I think that's something where  
8 there's an opportunity to gain insight. If you're  
9 just assuming one set of accident parameters, that is  
10 the cask gets whacked, there's a fractional release,  
11 the fractional release exposes X people in a certain  
12 way, and we come up with 70.9 rem when we add that all  
13 up, that's one realization. What are the other  
14 realizations that you could come up with to gain  
15 insight?

16 MR. EASTON: This is based on loss-of-  
17 shielding accident as opposed to a release, I believe.

18 CHAIRMAN RYAN: Whichever. My point is  
19 it's a deterministic one-off set of assumptions,  
20 correct? That's what I need to know. Again, I think  
21 that's an area where if you wanted to look at an  
22 improvement, it would be to try and identify some  
23 critical group and then do a number of realizations,  
24 and a number of scenarios to see what impacts might  
25 be. It's a way to think about it in a little bit more

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of a probabilistic sense.

2 MS. SAMPSON: And again, the cask  
3 prototype here was a steel-lead-steel cask, which is  
4 important in the loss-of-shielding issue.

5 CHAIRMAN RYAN: Sure. Absolutely. Thank  
6 you.

7 MEMBER WEINER: Just to respond to that  
8 last, the raw analytical results from the analyses  
9 were not available in the final report, and they were  
10 not -- I haven't looked at them. However, if indeed  
11 Radtran was used to calculate the accident dose risks,  
12 this was done probabilistically and not  
13 deterministically.

14 CHAIRMAN RYAN: Well, this is  
15 deterministic --

16 MEMBER WEINER: Well, yes but he didn't --

17 CHAIRMAN RYAN: -- you don't know, but  
18 maybe --

19 MEMBER WEINER: That's correct.

20 MS. SAMPSON: The input into Radtran --  
21 and let me back up. Maybe I can help with this a  
22 little bit. The accidents were based -- the  
23 historical FRA accident data was analyzed, and then  
24 was grouped into predefined accident categories to  
25 determine the probability that you would have an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 accident in one of those categories. And then those  
2 dose rates of the accident categories were the inputs  
3 that were put into Radtran, along with the anticipated  
4 delay time, to come up with the dose rate. So.

5 CHAIRMAN RYAN: It's this information that  
6 led me to conclude it's deterministic.

7 MS. SAMPSON: So the delay event was  
8 assumed to be an additional 10 hours on top of the  
9 regular transport time with the cask remaining at 10  
10 mrem/hour for that entire duration. Radtran was used  
11 to evaluate all six of the transportation routes. The  
12 same was true for accident Category 2 and accident  
13 Category 3, and the delay time for regular and key  
14 train service was determined to be slightly longer  
15 than the delay time for dedicated train service, which  
16 is really what results in your increased dose rate for  
17 those evaluations.

18 MEMBER WEINER: Yes, which indicates that  
19 in fact Earl is correct because the probabilistic  
20 aspect of Radtran accident analysis was not used.  
21 These were --

22 MS. SAMPSON: This is the way --

23 MEMBER WEINER: That was --

24 MS. SAMPSON: I'm sorry if I was a little  
25 slow getting all that put together, but.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 CHAIRMAN RYAN: No, I appreciate the fact  
2 that you're following up on where it preceded in your  
3 text, and we appreciate that.

4 MEMBER WEINER: I have a couple of  
5 questions. One is why was there any reason for using  
6 6672 rather than the modal study, for example.

7 MS. SAMPSON: I don't believe the modal  
8 study was completed when they started doing this. I  
9 may be wrong about that.

10 MEMBER WEINER: Well --

11 MS. SAMPSON: It was completed during the  
12 time --

13 MEMBER WEINER: It may be a question you  
14 can't answer. How did your results compare with the  
15 Yucca Mountain EIS? Did you do any -- did FRA do any  
16 comparison?

17 MS. SAMPSON: We have not done any  
18 comparison to date, no.

19 MEMBER WEINER: Finally, is there an  
20 accident that in this suite of accidents, is there  
21 something that would correspond to the Baltimore  
22 Tunnel Fire?

23 MS. SAMPSON: Jump in. Feel free.  
24 Please.

25 MEMBER WEINER: Yes, Earl?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. EASTON: And the reason I'm jumping in  
2 is the original law said the FRA DOT in consultation  
3 with the NRC should do this study. So we did review  
4 the underlying technical stuff. What the VOLPE center  
5 conclusions were, that accidents involving fully  
6 engulfing fires at greater than the NRC cask  
7 certification's duration and intensity would be  
8 reduced by 89 percent. But the numbers again are very  
9 small. They'd be reduced from 1 in  $4.2 \times 10^{-15}$  to  
10  $4.6 \times 10^{-16}$ . It's an 89 percent reduction, but when you  
11 work out in terms of years, that's once in every 250  
12 million years versus once in every billion years for  
13 this campaign. So the numbers are very, very small  
14 reduction in that type of event.

15 CHAIRMAN RYAN: And that's one side of the  
16 story. The probability of an event is one thing to  
17 consider. But the consequences is the second part,  
18 and I think it's risky to rely on saying, well the  
19 probabilities are very low, to then just hang your hat  
20 on a strictly single deterministic assessment of  
21 impact.

22 MR. EASTON: We do do a consequence  
23 analysis in 6672 for long duration fires where you get  
24 fuel breach cladding and all, and it shows that the  
25 release tends to be very low also. So if you linked

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the two together.

2 CHAIRMAN RYAN: And that's what I'm  
3 asking.

4 MEMBER WEINER: Any staff?

5 MR. SCOTT: Ruth, I've got one.

6 MEMBER WEINER: Mike.

7 MR. SCOTT: Mike Scott, ACNW staff. In  
8 one of my previous lives I had the good fortune of  
9 working for a nuclear utility that probably has  
10 shipped more spent fuel than any other, and we  
11 typically would ship it about 100 miles between one  
12 place and another, and if I recall correctly and my  
13 memory doesn't fail me we would ship two cars at a  
14 time. Your assumption was one car, correct?

15 MS. SAMPSON: The -- all of the  
16 assumptions for the study are based on a single cask  
17 car in the consist, yes.

18 MR. SCOTT: I'm wondering, especially on  
19 a cross-country route, it would seem that economics  
20 would strongly dictate several more than one at a  
21 time. Did that enter into the considerations at all,  
22 and what do you think the effects would be on your  
23 conclusions?

24 MS. SAMPSON: I believe, and I apologize.  
25 In -- let me -- I will answer your question, but let

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 me -- there is a technical study that supports the  
2 report to Congress. The technical study was completed  
3 by the VOLPE center and has been submitted to the FRA.  
4 However, I do have to apologize. We hoped that it  
5 would be available by now. The technical study is  
6 still in review process with the FRA. It's not a  
7 contents review. Because the study has been worked on  
8 for so many years and has been transmitted  
9 electronically between Cambridge and Washington, and  
10 between various agencies here in Washington, there are  
11 several significant editorial problems with the  
12 technical study right now. Figure numbers don't match  
13 up correctly anymore with the actual figures that  
14 they're supposed to correspond to, data has been  
15 dropped out of tables, headings are missing. FRA is  
16 trying to utilize their resources that have worked  
17 with the study over the number of years to do that  
18 review of the document and try to get it into a format  
19 where it won't have a lot of technical problems with  
20 the technical study. And we do hope to have the study  
21 available in February of this year, and as soon as it  
22 is available we will place it on our website. It does  
23 provide a great deal more of the background  
24 information. It provides examples of the event trees,  
25 and in the actual analysis of each of the six routes

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that were reviewed. So it does provide better  
2 information.

3 One of the things that was looked at in  
4 the technical study, and I don't have it tapped, but  
5 there was some consideration given to a two-cask  
6 consist, and how that might impact some of the  
7 results. It's a much less detailed review, because it  
8 was kind of tacked on as we came to the end of the  
9 study. The utilization of two casks has some impact,  
10 but it's a very minor impact on the results. It  
11 really didn't significantly change the findings in any  
12 way. There is a little bit of an address of that, and  
13 I think your point is very significant. It does not  
14 make economic sense to take cask cars across the  
15 country one car at a time. It's not an efficient use  
16 of resources. Doesn't seem to be, from my opinion.

17 MR. THADANI: I don't really have a  
18 question, but a couple of comments probably. The  
19 first one, I think that if you do more realistic  
20 analysis, at least technically you might conclude that  
21 there's essentially no difference in the outcomes.  
22 And so one would be then forced to make what I would  
23 think would be a policy decision based on perhaps some  
24 engineering considerations that you talked about. And  
25 then that would make sense.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The second comment that concerns me is  
2 when we talk about probabilities that are so low,  $10^{-10}$ ,  $10^{-15}$ , whatever it is, then I think one needs to  
3 think about the uncertainties. That's what's going to  
4 drive whatever decision you're going to make. Because  
5 quite honestly those numerical values are not very  
6 useful. I'm reminded that perhaps likelihood of a  
7 meteorite striking certain parts of the United States  
8 is probably higher than some of these estimates. So  
9 I just urge caution in the use of these probabilistic  
10 estimates. All it tells me is then I have to look for  
11 what else can get me in trouble, rather than this  
12 particular model I'm looking at. That's it, thank  
13 you.  
14

15           MEMBER WEINER: Are there any questions or  
16 comments from members of the audience? Come up, then  
17 and identify yourself.

18           MR. MALSCH: Yes, I'm Marty Malsch. I'm  
19 a lawyer with the State of Nevada. I just had two  
20 questions. One is what did you assume by way of the  
21 rail corridor between the existing lines and Yucca  
22 Mountain?

23           MS. SAMPSON: I do not know what the  
24 INTERLINE utilized to get to Yucca Mountain since  
25 there is not a rail line to there. I don't know the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 answer to that.

2 MR. MALSCH: Okay. And then my second  
3 question was in doing the comparison you eliminated  
4 Category 4 accidents purely on the basis of  
5 probability rather than risk. Yet in other categories  
6 you're comparing risk across the transportation modes.  
7 Why is that?

8 MS. SAMPSON: Again, I apologize. That's  
9 a decision that was made at the outset of the study.  
10 There was analysis done of rail accidents that had  
11 happened utilizing FRA's rail database, and the  
12 accident that would result in forces that were  
13 equivalent to those identified in the 6672 were not  
14 identified in the existing rail database. So it was  
15 eliminated. But it was a decision made at the outset  
16 of the study.

17 MR. MALSCH: Okay, thank you.

18 MEMBER WEINER: Bob, would you?

19 MR. HALSTEAD: Oh there it is. It's a  
20 clamp. Okay, got it. Thank you. Bob Halstead, State  
21 of Nevada. I just want to make a comment that we do  
22 endorse the conclusion of the report favorable to  
23 dedicated trains. I would add to Marty's comment, we  
24 were involved in that 1992 workshop. Most of the  
25 stakeholders wanted to see the Category 4 rolled in.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I don't want to repeat, although I agree with much of  
2 the discussion about the probabilistic analysis, but  
3 there's a point here where quantitative analysis  
4 doesn't always give you a good handle on whether as a  
5 matter of policy giving added assurance that you  
6 eliminate the potential for accidents like the  
7 Baltimore Tunnel Fire involving spent fuel, there just  
8 isn't any really good way to quantify that even though  
9 Earl as always has a number to throw on the table for  
10 it. I think there are some security advantages that  
11 are also very hard to put any kind of a cost-benefit  
12 number on.

13 The State of Nevada has a petition for  
14 rulemaking, PRM73-10 that has been before the NRC for  
15 now going on seven years arguing that use of dedicated  
16 trains would be a good idea for security reasons.  
17 Congress ordered the GAO to do an assessment of that  
18 in 2003. They concluded that that was a good idea.  
19 I realize back when you were directed to do this study  
20 that wasn't one of the concerns, but since then  
21 security issues are involved.

22 And while Nevada has consistently  
23 advocated use of dedicated trains, I do want to say  
24 we're sensitive to this issue of the train crew dose,  
25 and while again I agree with the discussion here that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 it's probably pretty low and not a good discriminator  
2 between different classes of service, nonetheless it  
3 probably would be a good idea, given the concerns on  
4 the part of the railroad unions that with the  
5 exclusive use dose rate assumed, which would be a  
6 higher routine dose rate, it probably would be a good  
7 idea to recalculate the train crew doses not to come  
8 up with an LCF calculation, but to come up with some  
9 number on -- given the expected crew rotations, what  
10 are the maximum annual doses to a particular crew, or  
11 a particular worker. And I think that goes in line  
12 with Dr. Ryan's concern that those collective dose  
13 numbers not be misused. Thank you.

14 MS. SAMPSON: I do want to say, the FRA is  
15 very aware of concerns raised by the rail unions, the  
16 Brotherhood of Locomotive Engineers and Trainmen, and  
17 also the United Transportation Union. And we have met  
18 with them on several occasions. FRA is currently  
19 undertaking a process to try to identify some baseline  
20 dose rate information for our rail inspector  
21 employees, and we hope to be able to utilize some of  
22 that information to assist the railroads in developing  
23 their own radiation dosimetry programs if they  
24 determine that that would be beneficial to them. It  
25 is a concern of the rail workers, and something that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 does need to be addressed with them for all modes of,  
2 you know, for all routine patrols transportation.

3 MEMBER WEINER: Any further questions?  
4 Hearing none I'll turn it back to the chairman.

5 CHAIRMAN RYAN: Thank you, Ruth, and thank  
6 you very much again for your presentation and our  
7 other fine presentation this morning. Let's see. We  
8 are adjourned for lunch until 1 o'clock, and I think  
9 after lunch we have just a brief preparation for the  
10 Commission briefing. The Commission briefing and then  
11 letter-writing. So I believe this will close our  
12 formal record for the day. So we'll close the record  
13 here, but we will come back to prepare for our  
14 Commission briefing at 1 o'clock. Our Commission  
15 briefing is scheduled from 2:00 to 4:00 p.m. We'll be  
16 in again White Flint 1, the large public meeting room  
17 over in the other building. And then we'll reconvene  
18 here after the conclusion of the briefing to follow up  
19 on this discussion of letters, on what we're going to  
20 write. And then I think we're scheduled for first  
21 thing Thursday morning to take up the details of the  
22 Part 63 letter, and anything else that we decide late  
23 in the afternoon. And Ruth's transportation, we'll  
24 take that up this afternoon, or afterward. Thursday  
25 morning?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER WEINER: Thursday morning because  
2 I want to get it printed.

3                   CHAIRMAN RYAN: All right, Thursday  
4 morning it is. All right, very good. Thank you all  
5 and see you at 1 o'clock.

6                   (Whereupon, the foregoing matter went off  
7 the record at 11:39 a.m.)

8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25