

Official Transcript of Proceedings
NUCLEAR REGULATORY
COMMISSION

Title: Advisory Committee on Nuclear Waste
169th Meeting

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Tuesday, April 18, 2006

Work Order No.: NRC-985

Pages 1-258

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON NUCLEAR WASTE (ACNW)

169th MEETING

+ + + + +

TUESDAY,

APRIL 18, 2006

+ + + + +

The Advisory Committee met at 10:00 a.m.
at Nuclear Regulatory Commission Headquarters, in room
T2B1 of Two White Flint North, Rockville, Maryland,
DR. MICHAEL T. RYAN, Chairman, presiding.

MEMBERS PRESENT:

MICHAEL T. RYAN, Chairman

ALLEN G. CROFF, Vice Chairman

JAMES H. CLARKE, Member

WILLIAM J. HINZE, Member

RUTH F. WEINER, Member

ACNW STAFF PRESENT:

JOHN T. LARKINS, Executive Director, ACNW/ACRS Staff

NEIL M. COLEMAN, Designated Federal Official

LATIF HAMDAN, ACNW Staff

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

I-N-D-E-X

1		
2	<u>AGENDA ITEM</u>	<u>PAGE</u>
3	1) OPENING REMARKS BY THE ACNW CHAIRMAN	3
4	2) OVERVIEW OF ACCELERATOR MASS SPECTROMETRY	6
5	3) UPDATE ON U.S. DEPARTMENT OF ENERGY (DOE)	62
6	CHLORINE-36 (CL-36) STUDIES AT YUCCA MOUNTAIN	
7	4) BRIEFING FROM NATIONAL ACADEMY OF	96
8	SCIENCES (NAS) ON ITS 2006 REPORT ON THE	
9	TRANSPORTATION OF HIGH-LEVEL NUCLEAR WASTE	
10	5) PROPOSED RULEMAKING ON NATURALLY OCCURRING	
11	OR ACCELERATOR-PRODUCED RADIOACTIVE MATERIALS	208
12	ADJOURN	
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

(10:03 a.m.)

CHAIRMAN RYAN: Good morning. If I could ask the meeting to come to order, please?

As you can see, we are not in our usual accommodations. We are happy to report the upgrade is proceeding well. And if all goes well, we'll be ready for our meeting next month in the revised room.

We've got new audiovisual equipment and other features that will make presentations even more fabulous than they have been, much thanks to Theron and his team for getting us down the road and making all of these intermediate accommodations the last couple of months. Without Theron's able help, we would be talking to each other without being on the record. And we would have a real mess.

So thank you, Theron. We appreciate your help.

MR. BROWN: Thank you.

CHAIRMAN RYAN: Let me read the opening statement. The meeting will come to order. This is the first day of the 169th meeting of the Advisory Committee on Nuclear Waste. My name is Michael Ryan, Chairman of the ACNW. The other members of the Committee present are Vice Chair Allen Croff, Ruth

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Weiner, James Clarke, and William Hinze.

2 During today's meeting, the Committee will
3 be briefed by a Purdue faculty member on the
4 methodology of accelerated mass spectrometry, will be
5 updated by representatives from the Department of
6 Energy on the status of chlorine-36 validation studies
7 at Yucca Mountain, and be briefed by the
8 representatives of the National Academy of Sciences in
9 their recent report titled "Going the Distance to Safe
10 Transport of Spent Nuclear Fuel and High-Level Waste
11 in the United States."

12 We will also be briefed by representatives
13 from the Office of Nuclear Material Safety and
14 Safeguards on the staff proposed rulemaking to
15 implement section 651 of the Energy Policy Act of
16 2005, to include certain naturally occurring or
17 accelerator-produced radioactive materials in NRC's
18 regulations for byproduct material.

19 Finally, we will discuss proposed letters
20 and reports the Committee has prepared from earlier
21 meetings.

22 Neil Coleman is the designated federal
23 official for today's session. This meeting is being
24 conducted in accordance with the provisions of the
25 Federal Advisory Committee Act. We have received no

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 written comments or requests for time to make oral
2 statements from members of the public regarding
3 today's sessions. Should anyone wish to address the
4 Committee, please make your wishes known to one of the
5 Committee staff.

6 It is requested that the speakers use the
7 only microphone for this session, which will be in one
8 of the two seats at the end of the table, a bit
9 inconvenient perhaps but that way we'll have you on
10 the record.

11 So if you want to ask a question, please
12 come up, use one of the chairs, and we'll be able to
13 hear you. And you can identify yourself and hopefully
14 have you speak with sufficient clarity and volume so
15 you can be readily heard. It is also requested if you
16 have cell phones or pagers, you kindly turn them off.

17 With that introduction, I think we're okay
18 on the record. Okay. Everything is working fine.
19 I've given the recorder a map of who we are. So we
20 don't need to identify ourselves because we don't have
21 our name tags and all of that stuff, as we would in
22 the normal room, but he has the road map. So he knows
23 who we are. And we will go from there.

24 So without further ado, today's agenda is
25 being led by Professor Hinze. So without further ado,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I will turn it over to Professor Hinze. Thank you.

2 MEMBER HINZE: Thank you, Chairman Ryan.

3 As you have stated, we have two briefings
4 this morning on the AMS spectrometry studies of
5 chlorine-36, which have played such an important role
6 in understanding the temporal processes at Yucca
7 Mountain.

8 Our first presenter -- and I would ask
9 David to come up and sit at the table here -- is
10 Professor David Elmore, professor of physics at Purdue
11 University.

12 David is appropriately the godfather of,
13 at least the father of, AMS and chlorine-36. He was
14 the senior author of the *Nature* paper back in the '70s
15 which kicked this whole type of study off and has
16 continued in those studies since that time.

17 He came to Purdue in the early '90s to
18 organize and direct the PRIME lab, which hands the
19 cosmogenic isotope measurements for Purdue University
20 as well as external sources, including those from
21 Yucca Mountain to the Department of Energy.

22 Dr. Elmore will be, as Chairman Ryan has
23 pointed out, David Elmore will be, discussing with us
24 the measurement of chlorine-36 with the AMS technique
25 and be discussing the uncertainties that are involved

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with those measurements and the many advances that the
2 PRIME lab has underway to improve the measurement of
3 chlorine-36 by AMS.

4 With that, I will turn it over to you,
5 David. We welcome you here, and we look forward to
6 this. It's been a topic of a lot of ad hoc discussion
7 among the Committee. So we'll be interested to hear
8 what you have to say.

9 DR. ELMORE: Thank you, Bill.

10 Let me start by saying that we developed
11 accelerator mass spectrometry, chlorine-36, back in
12 the late '70s. And the technique really hasn't
13 changed very much.

14 We have been measuring samples. I
15 measured June Fabryka-Martin's Master's thesis and
16 thesis samples back in the early '80s. And what I am
17 going to describe today is really pretty much the same
18 thing. We have improved on some of the things, like
19 the amount of beam we get out of the samples, but
20 otherwise what we are doing is what you are going to
21 hear about today.

22 Another thing I should mention, Mark
23 Caffee, who measured some of these samples at
24 Livermore, is now the director of our lab. So I work
25 together with Mark.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Okay. So I am going to describe AMS, talk
2 about the problems and challenges, the data analysis
3 that we use for the samples, checks and balances.

4 Okay. Next. All right. The way
5 accelerator mass spectrometry works, we form a
6 negative ion in the ion source from a small sample,
7 about pinhead size amount, of silver chloride. And so
8 there is, of course, a lot of chemistry that comes
9 before the AMS measurement. I'm not going to say too
10 much about that.

11 So the negative ion comes out of the ion
12 source. It's bent by a 90-degree injector magnet,
13 which sorts to the mass. The different masses bend
14 different amounts. We're selecting mass 36.

15 The negative ion is accelerated to the
16 positive terminal, the tandem, which can run up to
17 eight million volts. And then there is a stripper in
18 the middle that removes electrons. So now we have a
19 positive ion, accelerates again to ground, the other
20 end. So we call it a tandem accelerator.

21 Then following that, there are two more
22 large magnets, a velocity selector, an electrostatic
23 analyzer. And these all, again, select the mass. And
24 our limit of detection is one part in 10^{15} . Okay? I
25 tell our eighth grade tours that if we fill up our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 football stadium at Purdue with sand all the way up to
2 the top, it will hold about 10^{15} grains of sand.

3 So we're counting these chlorine-36 atoms,
4 which has nothing to do with the fact that they are
5 radioactive. Okay? We're counting them directly and
6 one at a time in this detector at the end of the beam
7 line. And so all of these magnets get rid of the
8 interferences; in particular, the stable chlorine
9 isotopes.

10 So what we measure is an isotope ratio.
11 And so we inject both the stable in the radioactive
12 isotopes by changing this magnet here to select the
13 three isotopes. The stable chlorine-35 and 37 are
14 measured right after this magnet here. So we go back
15 and forth. We spend about a minute counting the atoms
16 of the chlorine-36, and then we measure the beam
17 current of the chlorine-35 and 37.

18 Okay. Next, please. Here is inside the
19 accelerator. It is a 40-foot-long accelerator. The
20 whole beam line is about 200 feet long. And this
21 shows we're in there doing maintenance.

22 Okay. Next. All right. There are two
23 things I want to convey here. One is the basic
24 technique is really pretty simple. We're counting
25 atoms. We're using magnets to get rid of things, but

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the apparatus itself is very complex.

2 This is the ion source. We developed this
3 at Purdue, lots of vacuum pumps and power supplies and
4 racks and beam line components, lenses, and beam
5 profile monitors and the ion sources here. The sample
6 changer moves the sample up through a tube here into
7 a rod and goes down into the vacuum. Each sample goes
8 into the vacuum one at a time.

9 We built this ion source at Purdue. It's
10 one of the best in the world at doing this. There are
11 only maybe six or eight places in the world that can
12 measure chlorine-36, two in the United States: one at
13 Purdue and one at Lawrence Livermore National Lab.

14 Okay. Next. This is another part inside
15 the ion source. The primary cesium beam is ionized on
16 a very hot ionizer here. The negative ions then go
17 through the hole into the accelerator.

18 Okay. Next. All right. So I wanted to
19 say just a few things about sampling. I am a
20 physicist. I do the AMS. I don't do too much of the
21 chemistry and very little collecting of samples.

22 Some of the problems and challenges.
23 Well, there are many sources of chlorine-36. We have
24 the meteoric produced from spallation of argon in the
25 atmosphere. We have spallation of potassium and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 calcium on the surface of the Earth. And then we have
2 activation of chlorine-35 subsurface. And then on top
3 of all of that, we have the bomb-produced chlorine-36.

4 So there are lots of different sources.
5 And when you measure chlorine-36, each atom, of
6 course, you don't know where it came from. Possible
7 problems in collecting samples, you know, one little
8 bead of sweat from your forehead would swamp the
9 chlorine in the rock. So, of course, you have to be
10 very careful with chlorine. You know, if you live
11 along a seacoast, just the chlorine in the air can be
12 a problem.

13 Okay. If you're looking for one of the
14 lower-level chlorine-36 sources, then you have a
15 problem with contamination from the bomb pulse, which
16 is orders of magnitude higher from the 1950s
17 above-ground tests.

18 The *in situ* produced chlorine-36, that's
19 produced in the rocks on the surface. And then the
20 weathering of the rocks, that can get in the
21 groundwater. That may be somewhat higher than the
22 meteoric chlorine-36. And, of course, reactor
23 material, since chlorine is a common contaminant in
24 reactors, the chlorine-36 cross-section to make
25 chlorine-36 from neutrons is so high that there is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 going to be chlorine-36 in any reactor materials and
2 in, for example, groundwater around nuclear
3 facilities.

4 If the sample is really small, I don't
5 know if this is being done with samples from Yucca
6 Mountain, but we would add carrier, which would mean
7 we would add just the stable chlorine isotopes to give
8 us more sample. And when you do that, you have to be
9 careful about equilibration of that carrier with the
10 natural chloride.

11 With chlorine, that is not really a
12 problem, though. And something we do is add separated
13 isotope chlorine-35, one of the two stable isotopes.
14 And that tells us the amount of natural chloride that
15 was in the sample when we add the carrier. And that
16 is kind of a trick we use that is working very well.

17 Okay. Next, please. All right. As far
18 as the measurement goes, I haven't measured. Our
19 biggest interference problem with chlorine-36 is
20 sulfur-36. This is an isobar. It's a rare sulfur
21 isotope. And if the chemistry is good, we can reduce
22 it enough in the sample so we can then distinguish it
23 in our detector at the end of the beam line since as
24 the same mass, it gets around all of those magnets.

25 And so this is an interference. The

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sample preparation is really the key in removing the
2 sulfur. And it has to be done right. Sample loading,
3 which we do at Purdue, we have to be careful we don't
4 introduce dust and things that would have sulfur in
5 them.

6 And then, finally, once we sputter through
7 a small sample, our cathode, which is our sample
8 holder, will have sulfur in it. And so a small
9 sample, often we have sulfur problems just because we
10 consume the sample quickly and we get all of this
11 sulfur from the holder.

12 Okay. So that is a challenge to separate
13 the chlorine-36 from the sulfur-36. Another challenge
14 is keeping 30 power supplies to determine the beam
15 going through this complex accelerator.

16 If any one of those shifts a little bit,
17 then it's going to change the result and we're going
18 to get the wrong number. Okay? But, in particular,
19 the terminal of the accelerator, we need to hold that
20 constant to a part in 1,000. And if it drifts a
21 little bit, again, we get the wrong result.

22 In order to account for these kinds of
23 problems, we measure standards pretty often. These
24 are samples with a known amount of chlorine-36 in
25 them. And so we can correct for loss in the beam

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 line.

2 There always will be some chlorine-36
3 loss. So we need that standard in order to normalize.

4 MEMBER HINZE: Where do you get the
5 standards? And how are they set up?

6 DR. ELMORE: The standards come from NIST
7 originally, but they have to be diluted down. And
8 each lab does that independently, but we share
9 standards with each other. So we make sure our
10 standards agree with others. And so that hasn't been
11 a problem with chlorine. And so --

12 MEMBER CLARKE: If I can follow up on
13 that? The lowest point on the calibration curve is
14 supposed to be close to the protection, whenever
15 possible. That's an awfully low concentration you're
16 detecting.

17 DR. ELMORE: Yes. And I skipped over the
18 blanks here. Okay. So we also measure samples with
19 no chlorine-36 in them. And then that tells us what
20 our background level is. And that's right. A lot of
21 our samples are down near the background.

22 So the blank correction becomes more
23 important than the standard correction. And the
24 standard correction is more important to get high
25 precision on the higher-level ones. And so we're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 doing both of those.

2 CHAIRMAN RYAN: At this point, you are
3 talking about kind of inside the laboratory divisions?

4 DR. ELMORE: Right.

5 CHAIRMAN RYAN: You're not talking about
6 things like field blanks and other kinds of
7 variability that creep in from the taking it out and
8 --

9 DR. ELMORE: That's right. And I --

10 CHAIRMAN RYAN: -- all the way up through?

11 DR. ELMORE: Yes. I have another slide --

12 CHAIRMAN RYAN: Okay.

13 DR. ELMORE: -- that is going to address
14 that a little bit. In terms of our beam lines, we
15 know we're losing some chlorine-36. So the standard,
16 we do a correction for that routinely.

17 Okay. Next. Okay. This is kind of our
18 normal procedure for measuring samples. We measure
19 the iso ratio of chlorine-36 to the stabilized
20 isotopes three or four times. So we're going back and
21 forth between the isotopes. So we're essentially
22 measuring that ratio three or four times.

23 We measure, as I said earlier, both the
24 chlorine-35 and 37 after the accelerator and make sure
25 that we're getting the natural value for that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And this is really something that helps a
2 lot for chlorine-36. The radioisotope is midway
3 between the two stable isotopes. So if there are any
4 mass-dependent problems in the accelerator, we see
5 that right away in a change in stable isotope ratio.

6 Then we put each sample into the ion
7 source two to five times. So we're measuring the
8 sample 20 times total. Okay. So we identify random
9 sources of errors when we do this.

10 Okay. We measure the standard pretty
11 often, every three to five unknown samples. And we
12 measure the blank every 10 to 20 samples. So we're
13 keeping good watch on all of this.

14 Now, the blank here again is the
15 laboratory blank. A chemistry blank, which I'm yet to
16 have another slide on, is submitted by the submitter.
17 And that tells us what chlorine-36 contamination we
18 might have in the chemical preparation.

19 So when I say we measured two to five
20 times, as soon as we get better than about five
21 percent precision, we stop. So we don't measure them
22 all five times. In fact, we might get a three percent
23 measurement after two times.

24 So uncertainties generally range three to
25 five percent on samples that don't have any problems.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And I'll later show some examples of samples that did
2 have problems.

3 Okay. Next, please. Okay. Here is the
4 statistical data analysis. And this we do as we
5 collect the data. We're continually updating the
6 statistics. So when we're finished measuring a
7 sample, we really know what the uncertainty is.

8 Okay. We have internal errors and
9 external errors. The internal errors come from the
10 actual measurement directly. And the main one, the
11 counting statistics, we need 400 counts to get the
12 square root of 400. Twenty is five percent. So to
13 get five percent precision, we need to count 400
14 atoms. Generally we're counting a lot more than that.

15 And then if the beam current changes with
16 time, we can put in an internal error for that. And
17 then we combine using standard statistical techniques
18 the errors to get an overall internal error.

19 Now, the external error comes from
20 measuring the sample many times. And this is computed
21 from the standard deviation. And also we measure the
22 standards in blanks. And we fold in errors from
23 those.

24 And so at each step in the process, we
25 compute a weighted average of all of the measurements.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And we take the larger of these internal and external
2 errors. That's a conservative approach and actually
3 overestimates the uncertainties.

4 So after the first few cycles, the three
5 or four cycles, we get the error from the standard
6 deviation. And that then goes in as an internal error
7 at the next level.

8 So when we measure the sample two to five
9 times, that error is used up here. And again we take
10 the larger of the internal and external error. So
11 this is happening many times and very well accounts
12 for any random errors.

13 Say one of those power supplies or the
14 terminals drifted during a measurement. Then that
15 measurement would be different from all of the others.
16 Okay? And that would make the standard deviation
17 higher. And then the final result would have a larger
18 error.

19 And by measuring the standards from the
20 blanks, those correct for any systematic errors there
21 might be.

22 CHAIRMAN RYAN: Could you give us rough
23 numbers on what those three look like? I mean, is the
24 blank error typically two percent, ten percent? You
25 know, the standard --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. ELMORE: Well, it depends. A sample
2 that is a low-level sample, say, 10 times 10^{-15} , --

3 CHAIRMAN RYAN: Yes.

4 DR. ELMORE: -- if our blank is running 2
5 times 10^{-15} , we will subtract the blank. And that will
6 give us 8 times 10^{-15} , but we put a plus or minus 100
7 percent on the blank. So we'll subtract two plus or
8 minus two. Okay? And so that will put a 20 percent
9 error on our number.

10 CHAIRMAN RYAN: Where's that?

11 DR. ELMORE: Right there. And so --

12 CHAIRMAN RYAN: That doesn't include the
13 others.

14 DR. ELMORE: Right. And then all of the
15 others will get combined and larger. So the large
16 submitter always dominates from that equation.

17 CHAIRMAN RYAN: Right.

18 DR. ELMORE: I know I have gone through
19 this quickly, and it's hard to see what is happening,
20 but I do have some data, which I am going to show you
21 in a minute, that includes some of all of these
22 effects, like the problems with low samples where
23 there is a blank problem with samples that have high
24 sulfur and that kind of thing. We will see some
25 actual data in a minute here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Okay. Next. All right. Now, these, the
2 checks and balances, are the responsibility of the
3 person submitting samples to us. And in this case,
4 the Yucca Mountain samples are all of the chemistries
5 performed outside of our lab. If we were doing them
6 in our lab, which is a possibility, we're doing the
7 chemistry, we would certainly do all of these things.

8 Okay. First of all, the chemistry needs
9 to be done well so the sulfur content is low because
10 that is our main interference problem. And we need to
11 have sufficient samples. If samples are much smaller
12 than a milligram, it's best to add carrier to them to
13 bring them up to a milligram because we're not going
14 to get a good measurement for a sample that is much
15 less than a milligram of chloride.

16 The submitter needs to check his reagents
17 because there might be chlorine-36 in any of the
18 reagents used in the chemistry. And so the user needs
19 to take some dead chloride, which, you know, usually
20 reagent chloride is good enough, and run it through
21 the same chemistry. And that will tell us if there is
22 any contamination in the chemistry.

23 We need to see multiple samples from each
24 location. Okay? Then if that bead of sweat happens
25 to get in one of them, it probably isn't going to get

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in all of them. And, of course, there can be sampling
2 problems, I mean, variations in the rock, for example,
3 that might cause trouble when you're leaching out the
4 chlorine.

5 Multiple collection dates is a good idea.
6 Just things change with time. Possible contamination
7 can change with time. Okay. Then we invite blind
8 repeat splits of the sample.

9 Two samples, we don't know this, but they
10 are supposed to be the same. They are submitted to
11 us. We would run them both as independently, as
12 unknowns. And we like to see samples submitted in
13 different runs. We run chlorine-36 every 2 months or
14 so. And we can measure the same sample the next time.
15 And it's a good idea to different to different AMS
16 labs as well.

17 What I was going to say is some of our
18 users have a big rock or, in particular, I am thinking
19 of a guy that sends us meteorite, samples from
20 meteorites. He has one meteorite. Every run he takes
21 a little sample from that same meteorite and reruns it
22 every time. And he knows before we do if there are
23 any problems. He says, "Hey, my meteorite didn't come
24 out right that run." Of course, that doesn't happen
25 much, but it can happen.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER CLARKE: Within that group of
2 threes, the variation between the different labs, the
3 highest?

4 DR. ELMORE: Well, unfortunately, it's the
5 one we do least. And we don't actively send splits to
6 other labs. We occasionally do but certainly not
7 every run. Unfortunately, I'm not sure it's done
8 enough, but I don't see the data. You know, I don't
9 really know how much they're doing this. I am not
10 supposed to know.

11 But the few times that I know about that
12 we participated in group measurements and several
13 other labs do the same set of samples, things have
14 come out pretty well.

15 MEMBER CLARKE: I guess what I was getting
16 at, is there a laboratory variation so that if you
17 have different rooms in the same lab versus different
18 labs?

19 DR. ELMORE: Yes. This is a very complex
20 measurement. And there certainly can be problems.
21 For iodine-129, which is a fair bit more complicated
22 isotope to measure, more difficult isotope to measure,
23 than chlorine-36, we had a problem with our standards.
24 And we didn't realize it until we compared
25 measurements with another lab. When the standard was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 made, the iodine-129 was not in the equilibrium
2 chemically with iodine. It was used for dilution.
3 And light decomposed it.

4 So our standard was changing with time.
5 And that really stumped us for a while.

6 CHAIRMAN RYAN: It's a bad thing.

7 DR. ELMORE: So things like that can
8 happen. With chlorine, the chemistry is much simpler
9 for chlorine-36. And I don't see that happening. But
10 that is one reason we do measure samples.

11 Now, what we actively do is compare
12 standards with other labs. They measure our standard.
13 We measure theirs. We do that every couple of years
14 or so. For chlorine, this hasn't turned up any
15 problems at all. And so I think we're in good shape,
16 Livermore being the only other lab in the United
17 States that measures chlorine-36.

18 CHAIRMAN RYAN: Is that on a national
19 capacity or is it just for Livermore?

20 DR. ELMORE: Yes. And there is a
21 laboratory in Australia that we have exchanged samples
22 with. And so yes. Now, what I'm referring to is the
23 standards. We measure each other's standards. I
24 don't know of people sending splits to Australia.

25 CHAIRMAN RYAN: I understand.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. ELMORE: They should be. They should
2 be.

3 Okay. Next, please. Okay. Now I'm
4 showing some data. This is from Jim Cizdziel. I'm
5 not sure how to pronounce that name -- at UNLV. These
6 are Yucca Mountain samples. And we just measured them
7 in the last month. Okay? And it's three slides
8 showing the data.

9 I don't know. I'm showing you this not
10 knowing, really, anything about the sampling. Okay.
11 So here we're finding the percent uncertainty versus
12 the amount of chlorine-36. This is what we are
13 measuring, the chlorine-36 to chloride ratio, 10^{-15} ,
14 where our blank is running around 1 times 10^{-15} .

15 Okay. So you see most of the samples are
16 down below about five percent precision. This is our
17 goal. Okay. And some of these, we are going to see
18 why they are higher on the next two slides. Some of
19 these have poorer precision. Okay?

20 But really what I want to show on this
21 slide is when we get down to below 100 times 10^{-15} ,
22 then our precision just because we're not getting as
23 many counts, you know, that internal area that came
24 from the square root of the counts. We're not getting
25 as many.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And so our error creeps up here from about
2 100 times 10^{-15} down to about 10 times 10^{-15} . Then
3 below that, our blank starts being an issue. And so
4 these ones that are right on zero, some of those,
5 maybe most of those, are chemistry blanks. All right?
6 I don't necessarily know --

7 CHAIRMAN RYAN: Is that why you have to
8 have a red line that says, "Below detection"?

9 DR. ELMORE: Yes. Well, but, you see,
10 this comes out automatically from the analysis. So
11 the lowest ones have 100 percent uncertainty. Okay?
12 And you're right --

13 CHAIRMAN RYAN: No. I mean, there's got
14 to be a line on that graph that says, "Below this, we
15 have no confidence we are reporting real numbers."

16 DR. ELMORE: Exactly. And what we do --

17 CHAIRMAN RYAN: And I don't think it's at
18 zero.

19 DR. ELMORE: You're right. What we do, if
20 a value of the measurement is less than about two
21 times the uncertainty, then we say all we can do is
22 set an upper limit. And that is what we say in our
23 report. That is right.

24 And that number is around five. It
25 depends on -- some run their backgrounds a little

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 better than others, but our detection limit is around
2 3 to 5 times 10^{-15} .

3 CHAIRMAN RYAN: Right.

4 DR. ELMORE: But that's much --

5 CHAIRMAN RYAN: That's the red line after
6 that --

7 MEMBER CLARKE: There's a quantitation
8 limit in addition to the detection limit. Usually
9 it's some multiple of the detection limit, above which
10 you can assign a number and below which you really do
11 --

12 DR. ELMORE: Right.

13 MEMBER CLARKE: Do you do it that way? Do
14 you report it in terms of --

15 DR. ELMORE: Yes. I forget the exact --
16 I think it's actually three times our uncertainties.
17 These uncertainties, by the way, if I haven't actually
18 said it, are one sigma uncertainties. And so if a
19 number is less than three times three sigma from zero,
20 then we would consider that just an upper limit.

21 MEMBER CLARKE: Well, that is the
22 detection limit.

23 DR. ELMORE: That is a detection limit,
24 right. Above that, we report numbers.

25 MEMBER CLARKE: You report on --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. ELMORE: The errors --

2 MEMBER CLARKE: -- anything above the
3 detection limit?

4 DR. ELMORE: Right. But, you know, we are
5 reporting what the uncertainty is. So the submitter
6 can take that to mean what they like.

7 CHAIRMAN RYAN: And this is just your
8 measurement part? This is nothing to do with any
9 uncertainty superimposed from any errors in the
10 delivery to your --

11 DR. ELMORE: Exactly.

12 MEMBER HINZE: And it's an internal
13 mixture.

14 DR. ELMORE: Yes. These are all the
15 larger of the internal and external errors. We have
16 not done any correction for a chemistry blank here.
17 We have done the correction for a laboratory blank.

18 CHAIRMAN RYAN: This is what I would call
19 the instrument error.

20 DR. ELMORE: Yes, exactly. This is the
21 instrument error. Now, the submitter needs to submit
22 a chemistry blank. If their chemistry blank is ten,
23 then, you know, probably anything less than 20 or 30
24 should be considered the limit, but that is their
25 responsibility to set that limit.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: That is a really important
2 bit of information that you're only doing one
3 instrument part. And any errors that are reported on
4 your instrument part don't take into account any of
5 these other errors.

6 DR. ELMORE: That's correct.

7 CHAIRMAN RYAN: Okay. Great.

8 DR. ELMORE: That's correct.

9 CHAIRMAN RYAN: You're going to tell me
10 why it bounces all over the map?

11 DR. ELMORE: Yes. We'll do that. What I
12 want to impress on you is you have the instrument
13 error. We have a good handle on it. And these ones
14 that have larger errors, we know what the problem is.

15 And we're reporting those larger errors.
16 But I think most of the samples that are down as five
17 percent error range, the biggest uncertainty is in the
18 sampling problem.

19 Well, what is the source of the
20 chlorine-36 atoms in this rock? You know, is it bomb?
21 Is it meteoric? And that, of course, the submitter
22 has to work that out.

23 CHAIRMAN RYAN: Well, it's the bead of
24 sweat, and it's the --

25 DR. ELMORE: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: -- you know, origin of the
2 source and all of that, homogeneity, and homogeneity.

3 DR. ELMORE: Yes. This has nothing to do
4 with it.

5 CHAIRMAN RYAN: I mean, it's six dozen
6 things. My guess is, as in most instruments, the
7 instrument is the best thing you have got.

8 DR. ELMORE: Yes.

9 CHAIRMAN RYAN: And the rest of it can be
10 anywhere from well-controlled to magic.

11 DR. ELMORE: But this is one of the more
12 complex of the instruments out there.

13 CHAIRMAN RYAN: You bet you.

14 DR. ELMORE: Two hundred foot beam wide
15 with 30 power supplies. So, therefore, I'm working a
16 little harder to show you they're doing their job.

17 CHAIRMAN RYAN: Oh, no. That's going very
18 well, I might add. Thank you.

19 DR. ELMORE: Okay. The next one shows the
20 uncertainty versus -- the interference rate is the
21 sulfur-36. And so we can handle quite nicely now
22 samples with under 10,000 or so interference rate.
23 And, for sure, these two samples up here have a high
24 uncertainty because of the high sulfur rate. And so
25 we didn't do very well on measuring those.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: I'm struggling with came
2 out "quite nicely" because down near the lower
3 numbers, you have got lots of uncertainties that are
4 --

5 DR. ELMORE: Okay.

6 CHAIRMAN RYAN: -- north of 40 percent.

7 DR. ELMORE: Right. Now, a lot of these
8 -- see, I really need a three or four-dimensional plot
9 here to show you, but most of these samples here, a
10 lot of these, were the ones that had the lower ratio
11 from the previous slide. Okay? And --

12 CHAIRMAN RYAN: So you haven't factored
13 out just the sulfur error?

14 DR. ELMORE: Right, exactly. This is all
15 the data. My three plots that I've got here show all
16 of the data. You know, what you can do is you can
17 look at this one here. It's about 61 percent error.
18 You can find that point on the other plots if you
19 want.

20 The point is that most of the samples have
21 a manageable amount of sulfur. The few that don't end
22 up with larger errors. We don't have any up here with
23 30,000 counts per second sulfur that have a 5 percent
24 error. That's not happening. These get a big
25 uncertainty because of that. And mostly it's because

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there is a contribution towards signal from the
2 sulfur-36. And that varies with time.

3 CHAIRMAN RYAN: So what's your criteria
4 for sulfur when you're asking to sample? Below what?

5 DR. ELMORE: Well, it ends up being about
6 a part per million sulfur is where we have trouble.
7 See, unfortunately, sulfur-36 is only 10^{-4} abundant.
8 It's .01 percent of sulfur.

9 CHAIRMAN RYAN: Right.

10 DR. ELMORE: And so the part per million
11 translates to part in 10^{10} sulfur-36, but that is
12 still five orders of magnitude above our background.
13 We can handle that five orders of magnitude. We can
14 handle our detector because our detector gives a
15 different signal for sulfur and chlorine. And that
16 lets us handle pretty well up to about 10,000 a
17 second.

18 And so we actually subtract a background
19 that is linear with the sulfur.

20 CHAIRMAN RYAN: Just so I'm clear, David,
21 I want to understand these. Are there very large
22 errors that have nothing to do with the sulfur?

23 DR. ELMORE: Yes, yes.

24 CHAIRMAN RYAN: Those two would stay in
25 the '70s for other reasons?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. ELMORE: Exactly.

2 MEMBER HINZE: Those would be in this
3 error rate shown?

4 DR. ELMORE: Yes. And the previous slide
5 and the next slide show the other reasons we have.
6 And the previous slide showed a lot of low
7 chlorine-36. So we didn't very many counts. Those
8 have large error because of the low amount of
9 chlorine-36.

10 And the next slide, if we can move to
11 that, here we now have a problem with low beam
12 current. Okay? This is essentially the sample size.
13 If the sample is really small, we're not going to get
14 much beam out of it. Okay?

15 And this last batch, this is a little
16 unusual. This last batch, we had a lot of really
17 small samples. And the beam currents are way low.
18 And these produced a big error down here.

19 And we can handle them. With pretty low
20 beam currents, we can handle them. But when they get
21 right down under 100 or a few hundred nanoamps, then
22 there is a problem.

23 So these two over here were the high
24 sulfur and either sulfur or low chlorine-36 content.

25 CHAIRMAN RYAN: See, when I look, I guess

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I'm trying to find the other points in the previous
2 graphs. I don't know how to do that. I mean, I'm
3 looking at those two high points, and where are they
4 in the other graph. There's nothing in the 95
5 percent. I guess it is on the chlorine-36 one. Is
6 that right?

7 DR. ELMORE: Yes. I think one of those
8 points was actually off scale on one of the other --
9 the part with the high sulfur, and it didn't show it.

10 CHAIRMAN RYAN: I'm just not tracking
11 which one. I mean, if I look on the second sulfur, if
12 you could back up, there's a spot right there under 40
13 percent on the right side.

14 Is that data point supposed to show up on
15 another graph somewhere? I don't see it.

16 DR. ELMORE: Yes. There's one point I
17 know didn't show up on the other graph, and that's
18 because it was off scale. And I didn't want to adjust
19 the scale to get them all on there.

20 CHAIRMAN RYAN: It's just real hard to
21 follow and suggest. I can't follow one or the other.

22 DR. ELMORE: Yes. But I'm not really
23 intending you to do that.

24 CHAIRMAN RYAN: Okay.

25 DR. ELMORE: I'm just showing that --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: Well, you told me I could.

2 DR. ELMORE: Yes. Okay. You're right.

3 But the thing is we have the high sulfur. We have the
4 low amounts of chlorine-36. And we have the small
5 sample size. Those are the three things that give us
6 large uncertainties.

7 CHAIRMAN RYAN: One thing that's not clear
8 -- and it is I think an important part of uncertainty
9 analysis. And let's just for the sake of the argument
10 say that anything below 5,000 is good with regard to
11 sulfur. Anything below -- pick a number --

12 DR. ELMORE: Okay.

13 CHAIRMAN RYAN: -- with chlorine, the
14 chlorine ratio is okay.

15 DR. ELMORE: Okay.

16 CHAIRMAN RYAN: And anything below -- I
17 don't know. Pick a number here, whatever you like.
18 But what happens at these higher values is things
19 bounce around a lot. And, you know, you would expect
20 if you really get better as this analyte increased,
21 then you would see it smooth out.

22 DR. ELMORE: Well, but the --

23 CHAIRMAN RYAN: Now, I see this range of
24 high points down here as a detection limit problem.
25 But what I don't see is that this curve doesn't get

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 smooth. This bounces all over the place from, say,
2 250 on up to 1,500.

3 DR. ELMORE: Right.

4 CHAIRMAN RYAN: Now, I understand there
5 are competing issues.

6 DR. ELMORE: Right.

7 CHAIRMAN RYAN: But how do I have
8 confidence in this when I don't know what is causing
9 this to bounce around? So, I mean, for example, if I
10 said, what is the average uncertainty between 500 and
11 2,000, I would take an average of those numbers.

12 DR. ELMORE: Yes. Well, as I say, I can't
13 --

14 CHAIRMAN RYAN: That's what I propagate.

15 DR. ELMORE: I can't do a five-dimensional
16 display on the screen.

17 CHAIRMAN RYAN: Right. Maybe I'm being
18 unfair for that reason.

19 DR. ELMORE: Right.

20 CHAIRMAN RYAN: I'm just trying to
21 understand it.

22 DR. ELMORE: Yes. We give the submitter
23 the spreadsheet that has all the details of these
24 measurements if they choose to use it. And they can
25 then see why.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Every one of these is high for a reason.
2 Okay? And looking at the spreadsheet, they can see
3 whether it's low, chlorine-36 low, or high sulfur-36,
4 or low beam kerner from a small sample. Those are our
5 three big problems.

6 CHAIRMAN RYAN: On your end.

7 DR. ELMORE: On our end, right. And so
8 the submitter can see where the problem was and --

9 CHAIRMAN RYAN: But the real secret is
10 when they propagate the error, they've got to
11 propagate it in a way where that error translates to
12 the answer.

13 DR. ELMORE: Yes. I mean, it's a --

14 CHAIRMAN RYAN: It's a ratio of
15 chlorine-36 to chlorine stable plus or minus some
16 percentage --

17 DR. ELMORE: Right.

18 CHAIRMAN RYAN: -- accounting for all of
19 those things and the wrong sampling error.

20 MEMBER CLARKE: Well, if you had the 20
21 measurements, basically 20 measurements, you could
22 come up with the uncertainty on that.

23 DR. ELMORE: Yes, exactly.

24 MEMBER CLARKE: If you come up with an
25 uncertainty that's greater than a few percent or ten

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 percent, then you don't use those in the analysis. Is
2 that what you would suggest?

3 DR. ELMORE: Yes. Well, that's right.
4 And so if the submitter gets back a report that has
5 uncertainties of 40 percent to 100 percent, those
6 samples probably they should weed out and because
7 there were --

8 CHAIRMAN RYAN: Oh, I would suggest just
9 the opposite, that they be included.

10 DR. ELMORE: Okay.

11 CHAIRMAN RYAN: That's an uncertainty of
12 the overall system that must be included. Weeding
13 them out is a horrible thing.

14 DR. ELMORE: Well, fine. But they need to
15 be weeded according to their uncertainties. If
16 there's a big uncertainty, they shouldn't count it
17 very much.

18 CHAIRMAN RYAN: No. If it's a big
19 uncertainty, they should include it because it's a
20 measure of system uncertainty.

21 DR. ELMORE: Okay. Well --

22 CHAIRMAN RYAN: You know, they're trying
23 to measure an analyte in a sample and just saying,
24 "Well, I followed the detection limit" or maybe that
25 gives you a real, true, effective detection limit for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the whole process. Tossing out data is generally a
2 bad idea.

3 DR. ELMORE: Yes. Well, we never throw
4 away anything.

5 CHAIRMAN RYAN: Oh, I know.

6 DR. ELMORE: The submitter gets --

7 CHAIRMAN RYAN: But, I mean, just ignoring
8 some and accepting some because the analytical work
9 was theoretically better on some, rather than others,
10 that's a risky slump, I think.

11 MEMBER HINZE: But the uncertainty tells
12 you that something is wrong in the measure.

13 DR. ELMORE: Right, exactly. Now, if none
14 of these samples --

15 MEMBER HINZE: In this whole process.

16 CHAIRMAN RYAN: Well, in the instrument
17 part, which is what we're hearing about so far.

18 MEMBER HINZE: Yes, but it may be because
19 you have a high sulfur that is not practically taken
20 into account. And that's a part of the sample and
21 sample collection and sample preparation, as I
22 understand it.

23 DR. ELMORE: Yes. If we know what caused
24 the uncertainty, then they don't have to worry about
25 that coin too much if it's off where it should be.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Where they have to worry is if we report a five
2 percent precision measurement and when they plot it
3 with their other samples, one of them is way off in
4 left field, that is when the bead of sweat got in
5 there, something we don't have any control over. And
6 that sample, yes, should be left there to show that
7 there are other problems.

8 MEMBER CLARKE: I think we are making a
9 distinction between the instrument limit, which is
10 running the samples without any interferences or any
11 complications, what is usually called a method
12 detection limit, where now you're running actual
13 samples. You've got other things going on.

14 CHAIRMAN RYAN: And the system error is
15 obviously the combination of both. And it's only when
16 you understand every component of system error that
17 you really understand uncertainty.

18 MEMBER CLARKE: If I understood what you
19 said to Mike's earlier question, you point to some of
20 the different graphs that are all the same samples.

21 DR. ELMORE: Yes.

22 MEMBER CLARKE: So if you numbered those,
23 you would be able to match them up.

24 DR. ELMORE: Yes, yes. Good point. We
25 could have done that. And if anybody here would like

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to see the spreadsheet of the raw data, you know I can
2 provide that.

3 CHAIRMAN RYAN: That would be helpful,
4 actually.

5 DR. ELMORE: And I think there is only one
6 point that was off scale on this plot. I think it was
7 -- I don't know. I'm not sure right now.

8 CHAIRMAN RYAN: It doesn't really matter.
9 If we can get the spreadsheet, we can figure it out.

10 DR. ELMORE: Yes, exactly. Okay.

11 Then I have a couple of conclusions to
12 make here. Okay. AMS is a complex analysis tool.
13 And, really, it takes the physics department, where we
14 have ten employees and to keep the thing running and
15 two Ph.D. physicists running the accelerator. So it's
16 a very complex tool.

17 We make a very active use of standards and
18 blanks. We measure them a lot. That helps us
19 identify any problems in the system. A complete error
20 analysis usually identifies samples with problems.
21 Okay?

22 These are problems in the measurement.
23 And I say "usually." There are other things I didn't
24 talk about here that can be problems, like mixing of
25 samples and stuff. And it happens but pretty

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 infrequency. Maybe once a year we get a sample that
2 got mixed up in the loading or something.

3 So there are other problems that don't
4 show up here. And, you know, some of those will be
5 showing up with the splits sent to us and other labs
6 or just two samples sent to us. And so it's a
7 responsibility of the user to submit multiple samples
8 in blind split repeats.

9 I'll be glad to take any other questions.
10 That is what I had to present.

11 MEMBER HINZE: Ruth?

12 MEMBER WEINER: Thank you for a very
13 interesting discussion. I just have a couple of
14 questions.

15 How does this method compare in precisions
16 and resolves and uncertainty with if you just tried to
17 assay chlorine-36 radiologically?

18 DR. ELMORE: Okay. The half-life of
19 chlorine-36 is about 300,000 years.

20 MEMBER WEINER: So you get a very weak --

21 DR. ELMORE: Very weak signal. If you
22 counted for months on one sample, if it was a large
23 sample, you might be able to see. Davis and Schaeffer
24 tried to do this in the '50s, actually. They
25 predicted chlorine-36 would be produced in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 atmosphere. And they tried to measure it with decay
2 counting but failed. And so that's really out of the
3 question.

4 MEMBER WEINER: So this is, really, only
5 the method of choice, then, --

6 DR. ELMORE: Well, let me --

7 MEMBER WEINER: -- the only method you can
8 use?

9 DR. ELMORE: Well, let me say the
10 standards were counted by decay counting. Okay?

11 MEMBER CLARKE: We could use ICP NMS, but
12 according to what you told us in the beginning, this
13 was at least 1,000 times in lower detection limit. I
14 think that is parts per trillion pretty much.

15 DR. ELMORE: Yes.

16 MEMBER WEINER: Yes. That was my next
17 question. What if you used ICP NMS? Could you --

18 DR. ELMORE: It would have the same
19 problem with the sulfur. And the sulfur is about five
20 orders of magnitude higher than our background signal.
21 It takes the high energy.

22 I didn't mention that there are two things
23 that you need the high energy, this big accelerator,
24 for. One is to separate the sulfur from the chlorine.
25 We do that from the basis of energy loss in our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 detector. That only works with many MEV of energy.
2 And the other is destruction of molecules. There can
3 be other molecules of mass-36. And so these would be
4 problems with ICP NMS.

5 MEMBER WEINER: So you really have
6 narrowed down to a method that isolates the CL-36.
7 And that was why you can't --

8 DR. ELMORE: That is correct.

9 MEMBER WEINER: My other question is, who
10 supports this?

11 DR. ELMORE: The National Science
12 Foundation Solid Earth Sciences. We have block
13 funding from them. Most of the work we do is the *in*
14 *situ* produced chlorine-36 and other nuclides,
15 bromium-10, aluminum-26, in rocks on the surface of
16 the Earth to measure exposure time of the rock so we
17 can date volcanic eruptions, earthquakes that will
18 expose rocks to cosmic rays, glacial marines, and
19 landslides. That is most of our work.

20 MEMBER WEINER: When people send you
21 samples, do they pay for the analyses or do you
22 support that?

23 DR. ELMORE: Yes. If it's research
24 samples with the types of research the NSF funds, then
25 we charge half-price still. And the other half really

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 comes from our block grant.

2 And for samples such as Yucca Mountain, if
3 that's not considered just basic research, then we
4 charge the full price, which is about \$400 a sample.

5 MEMBER HINZE: Allen?

6 VICE CHAIRMAN CROFF: In your talking, you
7 alluded to a number of radionuclides that you
8 mentioned. I mean, we focused on chlorine-36 but
9 iodine. You just mentioned some others. How long is
10 the list of things that this will make? I mean, is it
11 a long list or --

12 DR. ELMORE: Six.

13 VICE CHAIRMAN CROFF: Okay.

14 DR. ELMORE: There are six isotopes we
15 measure. And we usually spend a week or two on each
16 one. And so it takes a few months to cycle through
17 all of them.

18 VICE CHAIRMAN CROFF: Okay. Thanks.

19 MEMBER HINZE: Dr. Ryan?

20 CHAIRMAN RYAN: Has anyone reported that
21 you know of a complete analysis of sampling error and
22 system error over a large, integrated number of
23 samples?

24 DR. ELMORE: No. June Fabryka-Martin was
25 very active in our data analysis, these samples in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 particular. And she had a good body of data on Yucca
2 Mountain. I don't know that she has published that,
3 but she would be the one to do it.

4 CHAIRMAN RYAN: Yes. Well, I guess you
5 can tell by my questions I have been struggling with
6 understanding a few basic things. On the instrument
7 side, which I really appreciate your insights, there
8 is a red line. Below the red line, you don't have any
9 confidence in an answer.

10 DR. ELMORE: Right.

11 CHAIRMAN RYAN: Wherever you want to draw
12 it, for whatever reasons, that is --

13 DR. ELMORE: I mean, there are really
14 three red lines --

15 CHAIRMAN RYAN: Exactly.

16 DR. ELMORE: -- shown by the three plots.

17 CHAIRMAN RYAN: So, you know, if I have a
18 known sample, I can tell which red line I am really
19 focused on. If I get a field sample, the weakest of
20 the red lines; that is, the one highest up on the
21 x-axis, is the one I have to draw.

22 So it would be interesting to try and
23 figure out how to take field samples. And you need,
24 you know, obviously more than three or four or six.
25 You know, you need hundreds to really do a good job to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 say what were the field sampling errors and then what
2 were the instrument errors assuming some detection
3 limits and on the other issues, which you very well
4 discussed, and do a systematic error for all of these
5 samples and then a systematic error for the collection
6 of samples before you can really say or interpret
7 these ratios.

8 I mean, everybody typically reports an
9 instrument error when they say, "Oh, the error of a
10 gamma spec is X percent of cobalt-60." Well, you
11 know, that's the instrument. That's not the system
12 error that got you to the sample that you want the
13 analyte for and that those are typically the sampling
14 problems dwarf the instrument problems.

15 DR. ELMORE: Yes.

16 CHAIRMAN RYAN: In almost every case I
17 know of, that's true. So how do we put all of this
18 together? What would your recommendation be to --

19 DR. ELMORE: I think it's true that the
20 Yucca Mountain studies measure many samples of the
21 same from the same source.

22 CHAIRMAN RYAN: Many? "Many" being 50?
23 Twenty?

24 DR. ELMORE: Well, June did hundreds.

25 CHAIRMAN RYAN: Hundreds.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. ELMORE: We're sure. But, sure, I
2 think -- well, these samples from UNLV, I think here
3 we saw so many that were below the red line because I
4 think they are trying new things. Okay? They're
5 trying small samples in places where there are real
6 low ratios.

7 CHAIRMAN RYAN: Fair enough.

8 DR. ELMORE: But I think a lot of the work
9 June did -- there weren't so many below the red line,
10 but, at any rate, I think even that, even this recent
11 data, that there are certainly tens of samples that we
12 got good measurements on. And I suspect that a lot of
13 those are from the same site.

14 And so then you can pop those in and look
15 at the distribution. And that distribution for sure
16 will have a wider range than five percent.

17 CHAIRMAN RYAN: And that is the real
18 error?

19 DR. ELMORE: That is the real error.

20 CHAIRMAN RYAN: That's what I keep
21 reaching for --

22 DR. ELMORE: Yes.

23 CHAIRMAN RYAN: -- to get to hear much
24 about.

25 DR. ELMORE: But I think AMS is a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 complicated enough measurement tool that you might
2 conclude that a lot of that error came from AMS. And
3 I am trying to lay to rest that isn't true.

4 There certainly are problems, but when
5 those problems occur, we can identify them. We can
6 say, "This sample didn't get measured well because of"
7 such and such a problem. And we do.

8 For the person who doesn't want to look at
9 that spreadsheet, we tell them why. Whenever any
10 sample is over five percent precision, we tell them why.

11 Let me say there have been studies of, for
12 example, glacial marines, where we measure lots of
13 boulders on the marine exposure age. And there have
14 been cases where they all agree to within three to
15 five percent over a field of rocks. And it's
16 unbelievable.

17 So what I am saying is this -- and this is
18 what we are funded for. And it works really well.
19 And so it's possible to have a low scatter of data
20 from field samples, but the trouble is leaching rocks,
21 which is what we're doing mostly in Yucca Mountain,
22 there are different sources of the chlorine-36 and
23 different rocks or different amounts of leaching will
24 give you different answers. And then that puts a
25 spread in the data.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: And, again, I think we are
2 agreeing that the sampling uncertainties, you know,
3 right from getting the sample to the chemistry on the
4 sample and all of that, is probably a much bigger
5 error than what you are documenting to us.

6 DR. ELMORE: That's the bottom line from
7 my talk.

8 CHAIRMAN RYAN: I'm guessing that. So,
9 you know, we're taking that away. But what we really
10 need to understand if the interpretation of this data
11 is valuable is, what is the real uncertainty? What is
12 the system uncertainty?

13 DR. ELMORE: Yes.

14 MEMBER CLARKE: So you have helped me
15 reshape my question. Thank you.

16 DR. ELMORE: Well, if you haven't had Fred
17 Phillips give a presentation here, he might be the --
18 he's the world expert in chlorine-36 from the geology
19 point of view and hydrology. He's a hydrologist.
20 He's done chlorine-36 with me since day one. And Fred
21 would give a nice presentation from that point of
22 view, I think.

23 CHAIRMAN RYAN: Thanks. That's a good
24 suggestion.

25 Jim, sorry. Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER CLARKE: I share Mike's concerns.
2 I started out on the chemical side. So I'm using
3 different words than he is, but, you know, this
4 overall what he's calling system error and what I
5 would call method detection limit. And I'm even a
6 little concerned about recording above the detection
7 limit because all the detection limit tells you is
8 it's there. It doesn't tell you how much is there.

9 Normally there is an area of uncertainty
10 until you get to a point where you -- you know, what
11 you are doing is not unusual. I haven't heard
12 anything about the detection limit.

13 Allen asked you about other radionuclides.
14 You said there were six?

15 DR. ELMORE: Yes.

16 MEMBER CLARKE: You could theoretically
17 tune this to anything? Is that right?

18 DR. ELMORE: Well, we measure
19 radionuclides because they are what is rare in nature,
20 not because they're radioactive and other isotopes.
21 And we've tried technetium, for example. But the
22 problem is the isobar, the equivalent of the
23 sulfur-36. They swamp us.

24 We're building a new beam line. So we are
25 starting to work on new isotopes, but each one is a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 major development.

2 MEMBER CLARKE: Yes. I was just talking
3 about the technique in general. Obviously you would
4 have sources of interference for different
5 radionuclides. You would have to deal with those, but
6 in principle you could apply the standard to
7 radionuclide. You would just have different --

8 DR. ELMORE: In principle.

9 MEMBER CLARKE: You would have different
10 uncertainties.

11 DR. ELMORE: In practice, we have been
12 doing this for 30 years. And we have tried lots of
13 other ones and failed so far. But there are some that
14 are promising we're working on.

15 MEMBER CLARKE: And how do you remove the
16 sulfur?

17 DR. ELMORE: How do you remove the sulfur?

18 MEMBER CLARKE: Sulfur.

19 DR. ELMORE: Okay. Well, first of all, in
20 the chemistry, by precipitating silver chloride and
21 redissolving in ammonia, the sulfur doesn't
22 precipitate. So you do that several times and --

23 MEMBER CLARKE: It's a chemical
24 separation?

25 DR. ELMORE: So it's a chemical. That's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the first one. Then the other is the detector. The
2 rate of energy loss in the gas in our detector for
3 sulfur and chlorine are different because of the
4 different atomic number. And that gives us a
5 different signal. And this is a standard nuclear
6 physics technique. So we need both of those to remove
7 the sulfur.

8 MEMBER CLARKE: And that is typically done
9 by the person sending you the sample?

10 DR. ELMORE: The chemistry.

11 MEMBER CLARKE: And there is --

12 DR. ELMORE: The first step, yes.

13 MEMBER CLARKE: Have you listed the
14 variation?

15 DR. ELMORE: Well, for sure, some
16 submitters are better able to remove the sulfur than
17 others, but we're now able to handle pretty high
18 sulfur. That 10 to 20 thousand count-per-second limit
19 we have now used to be 2 or 3 thousand. So we have
20 improved our measurement technique by an order of
21 magnitude.

22 And so most samples are okay. It's not
23 usually a problem. The ones that are a problem are
24 where we don't work in a class 100 clean room and so
25 we get -- one little dust particle can wipe out a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sample with the sulfur. So we occasionally get high
2 sulfur ones.

3 MEMBER CLARKE: Thank you. Very
4 interesting presentation.

5 MEMBER HINZE: The thing is, let me ask it
6 a little differently regarding this whole system if
7 you will. We have the sample collection. We have the
8 chemical proliferation. And we have the actual AMS
9 measurement.

10 I know that you are very interested and
11 PRIME is very interested in making certain that the
12 results of these are scientifically interesting and
13 justifiable. But there is this potential for a
14 disconnect between those three elements.

15 Do you hold courses in helping people to
16 understand what your problems are in measurement so
17 that the sample collection and the chemical
18 preparation really keep in mind what is the end
19 product down here in terms of actual measurement? Is
20 that sort of thing done?

21 DR. ELMORE: We host visitors pretty
22 often. And we're glad to share our chemical
23 preparation procedures we have written up. We share
24 those openly to anybody.

25 And our sample submitters learn very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 quickly the sulfur problem, the sample size issue, and
2 the detection limit. I mean, they learn those three
3 pretty quickly; if not before their measurements, at
4 least after their first batch of them.

5 So, you know, I don't think there are
6 enough new users out there to really have a class. We
7 would. In fact, we are planning to start doing that
8 for the geology users for the *in situ* produced
9 nuclides that are most of our business. We're talking
10 about we started having a class on that, kind of a
11 workshop.

12 I mean, there is a conference, accelerator
13 mass spectrometry conference, every three years. And
14 there are a lot of interactions there on discussing
15 these problems.

16 MEMBER HINZE: One of the major problems
17 that you have is the sulfur. And I think volcanic
18 peroxide. I think of sulfur. There is a lot of
19 sulfur in volcanic rocks. Do you find the
20 uncertainties higher in measurements that are made in
21 volcanic rocks than you do in others? Do you have any
22 feel for this?

23 DR. ELMORE: I think there's no real
24 correlation between the amount of sulfur in the
25 original sample and the sulfur in the sample we run.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I think the chemistry is adequate.

2 The sulfur we see I think is more from
3 blunders and that dust particle there or not doing the
4 chemistry right. I mean, sometimes the first time the
5 submitter sends us samples, there is sulfur in them.

6 But I think that that is not an issue,
7 really, how much sulfur is in the original samples.

8 MEMBER HINZE: Do you have better
9 consistency of the results when you actually do the
10 sample preparation itself?

11 DR. ELMORE: No. Our technician can give
12 us samples that are as high in sulfur as anybody on
13 occasion.

14 MEMBER HINZE: Okay. We have just a few
15 moments. I will open this up to anyone in the
16 audience who has a question for Professor Elmore.

17 MR. HAMDAN: David, I have a question.

18 CHAIRMAN RYAN: Please come and sit at the
19 desk and tell them who you are just because of he
20 microphone problem.

21 MEMBER HINZE: Use the microphone.

22 CHAIRMAN RYAN: Tell us who you are, too.

23 MR. HAMDAN: I'm Latif Hamdan with the
24 ACNW staff.

25 David, I just wanted to ask you -- I don't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 know if this is in the scope of your representation or
2 not, but still you mentioned you did something for
3 Yucca Mountain, either present there or if you have an
4 expert opinion on the subject as to whether or not
5 this is all that we know, Yucca Mountain, whether this
6 method, the chlorine-36 method, is a good enough
7 method to get you a good number for the --

8 DR. ELMORE: Yes. Well, you're asking a
9 physics professor, not a hydrologist or a geologist.
10 I mean, we know where the source is of the
11 chlorine-36. The subsurface sources of chlorine-36
12 come from decay of uranium and thorium, which produce
13 neutrons that make chlorine-36. And we can predict
14 how much of that there should be. And it's a pretty
15 low number, usually less than 10 times 10^{-15} . Okay?

16 So anything above 10^{-15} , which is right
17 down near our detection limit, anything higher than
18 that must have come from the surface. Okay? Neither
19 can be combination. That occasionally will happen,
20 but that isn't going to usually be the problem.

21 It has to come from production in the
22 atmosphere, production on the top meter of the Earth's
23 surface, and production from above-ground bomb tests.

24 Those are really the three sources. And
25 so if you're finding chlorine-36 down under, it's got

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to come from one of those. All right?

2 And the production since it's a
3 300,000-year half-life, the production in the
4 atmosphere and on the surface of the Earth, that's
5 been happening all along. And so the numbers you see
6 that range up to about 1,000, you know, all that's
7 telling us is the travel time from the surface to the
8 below-ground sampling depth took less than a few
9 half-lives, let's say less than a million years or
10 less than half a million years.

11 Okay. But anything you see above 1,000
12 times 10^{-15} must have come from the bomb tests. And
13 I'm not too knowledgeable about all of the work that
14 has been done on that, but it's my opinion that if you
15 consistently see samples above 1,000 times 10^{-15} in one
16 place, that means chlorine-36 from the bomb test,
17 which means the last 50 years, is getting down there.
18 So I don't know of any higher-level sources of
19 chlorine-36.

20 And for sure, you know, if you leach more
21 chloride out of the rock, then you're getting more of
22 the lower-level chloride that was originally in the
23 rock that only had chlorine-36 from the neutrons. So
24 if you leach more, that's going to lower your numbers
25 because you're diluting it with the old chloride.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So if there are any samples at all that
2 were well above 1,000, it seems to me that has to be
3 from transported by water in the last 50,000 years.

4 And that's my feeling from what I know
5 about the subject. And I don't claim to be a real
6 expert.

7 MR. HAMDAN: Yes. I was thinking just in
8 terms of the passage of the measurements, uncertainty
9 in the sampling and the measurement itself, how that
10 is relevant to the passage.

11 DR. ELMORE: Yes. Well, the vast majority
12 of our samples -- and I think this data I showed you
13 had more with higher uncertainties than we usually
14 have because they were special samples.

15 Most of our samples have had uncertainties
16 at around five percent. And so, you know, if it's
17 1,000 plus or minus 50, that's a pretty small range.
18 And so if you are seeing some samples that are a few
19 thousand, for sure that wasn't because of our
20 measurement. That's --

21 CHAIRMAN RYAN: But again, that's the
22 instrument error, which, you know, I mean, I still say
23 that is not a measure of error of the sample.

24 DR. ELMORE: Right.

25 CHAIRMAN RYAN: It's a measure of error in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the instrument measurement.

2 DR. ELMORE: But how could there be errors
3 in the sampling that give you -- if you measured a
4 sample that was, say, 5,000 times 10^{-15} , it would have
5 to be contamination from some source of --

6 CHAIRMAN RYAN: Sure, right.

7 DR. ELMORE: -- of chlorine-36.

8 CHAIRMAN RYAN: But without systematic
9 documentation of that, we're guessing.

10 DR. ELMORE: Yes.

11 CHAIRMAN RYAN: We're just making a guess.
12 That's my point. You know, nobody has really taken
13 this on as a real systematic error analysis. You have
14 confirmed that at least.

15 DR. LARKINS: You mentioned earlier that
16 there was some comparison of blanks for using the same
17 technique between your lab and the Australian lab.
18 What was the variability in the measurement of those
19 blanks, standards?

20 DR. ELMORE: Well, both. I mean, it is
21 appropriate to look at both standards and blanks.

22 DR. LARKINS: Yes.

23 DR. ELMORE: The standards we're now
24 agreeing to better than five percent. In fact, I
25 think it's one to two percent as we're agreeing on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 standards among the labs. And so that certainly isn't
2 a big issue.

3 CHAIRMAN RYAN: But is that a fair test as
4 you have been looking at the same standards now back
5 and forth for years? What would happen if, for
6 example, somebody gave you a split of a known sample
7 and sent it to both of you, one that didn't agree
8 within that two percent? It's a different question.

9 DR. ELMORE: When we measure the
10 standards, we measure many more times. And there are
11 higher-level samples. So we can do that to one or two
12 percent.

13 The unknowns, you know, the best we would
14 probably look for would be five percent. And the
15 samples we have compared, I didn't bring any data to
16 show you but have been on the order of five percent.
17 So --

18 CHAIRMAN RYAN: That's the best you --

19 DR. ELMORE: So we --

20 CHAIRMAN RYAN: What is typical?

21 DR. ELMORE: Yes. Typical comparisons on
22 chlorine-36 -- now, other nuclides, like iodine, it
23 wouldn't be so good, but with chlorine, 5 percent
24 agreement. Okay. But to one sigma error, you're
25 going to have a few that might be ten percent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 different, but five percent is I think a reasonable
2 uncertainty to be putting on it.

3 That's one of the reasons we don't
4 measure. We don't try to measure to better than five
5 percent because if we measure a lot of splits with
6 Livermore, probably on average they would agree to
7 about five percent. Neither of us are going to try to
8 do better than that.

9 MEMBER CLARKE: I think the other point
10 is, what is the value of the standards, the standards
11 made at very low ratios?

12 DR. ELMORE: We measure standards that
13 range from about a 100 times 10^{-15} up to 40,000. We
14 have set up with, actually, a 40,000 standard, but our
15 typical one is 8,000.

16 MEMBER CLARKE: And do you get the same
17 precision at the low levels as you get at the high
18 one?

19 DR. ELMORE: Yes.

20 MEMBER HINZE: Well, thank you very much,
21 David, for an excellent presentation, very
22 informative. You have been very helpful to us. We
23 really do appreciate it.

24 With that, we will move directly into an
25 update on the chlorine-36 studies of the Department of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Energy. Drew Coleman will be making the presentation
2 for DOE. And, if I understand correctly, this is
3 concerning the validation report of the DOE that is
4 pending and that we are all looking forward to seeing.

5 DR. D. COLEMAN: Yes. Thank you for this
6 opportunity to address the ACNW. I appreciate it. I
7 don't like to follow up people like David with a
8 bureaucrat, but I'll see what I can do here.

9 I'm a geological engineer by training and
10 a geologist by experience. I'm a bureaucrat for the
11 DOE. I'm a task manager, a saturated zone manager,
12 university task manager, and a USGS technical monitor.

13 CHAIRMAN RYAN: Drew, if I may just --
14 we're going to hook up some folks in who wanted to
15 listen in. So we will just let that happen.

16 DR. D. COLEMAN: Okay.

17 CHAIRMAN RYAN: And we'll pick that right
18 up. Sorry. We should have gotten that done ahead of
19 time.

20 (Pause.)

21 CHAIRMAN RYAN: Good morning.

22 MR. FITZPATRICK: Good morning.

23 CHAIRMAN RYAN: Just to complete our
24 record, could you tell us who is on the phone and who
25 you are with, please?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. FITZPATRICK: This is Charles
2 Fitzpatrick, Nevada.

3 CHAIRMAN RYAN: Okay.

4 MEMBER HINZE: Thank you very much,
5 Charles.

6 CHAIRMAN RYAN: Can you hear us all right?

7 MR. FITZPATRICK: Yes, I can hear you
8 fine.

9 CHAIRMAN RYAN: Okay. Fire away, Drew.

10 DR. D. COLEMAN: Okay. So I'm Drew
11 Coleman. I'm from the Department of Energy. And I'm
12 giving a presentation entitled "Update on Chlorine-36
13 Studies."

14 Now, David talked a little bit about some
15 of the parts of the study, but parts I'm going to talk
16 about are what I call the USGS/Los Alamos conflicting
17 reports portion and where that is.

18 There is also a follow-on, UCCSN
19 cooperative agreement study, that I'll talk about.
20 And when I talk about the USGS part, that was actually
21 a consortium of the USGS-Lawrence Livermore with Mark
22 Caffee, who was mentioned by David, and some ACL
23 people. But the USGS led the study in my view.

24 And the Los Alamos part, it would be June
25 Fabryka-Martin's early work and then some follow-on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 work by a guy named Bob Roback that worked on that.
2 And the UCCSN work is Jim Cizdziel as a chemist; Fred
3 Phillips as the, I guess, chlorine-36 guru on the
4 effort; and Jean Cline, who has done some sampling and
5 some activities prior on the project and was sort of
6 their sampling lead for their UCCSN effort.

7 So you folks have had a presentation on
8 this subject. I think it's been a few years ago. And
9 there is not really a lot to say, but I was going to
10 go over the history just briefly and if you've got
11 questions I guess try to answer them during the
12 questions part.

13 In 1996, the TBM was mine in the
14 exploratory studies facility. And systematic samples
15 and feature-based samples, which focused on, say,
16 faults or fractures or other kinds of features,
17 followed the TBM in some cases right behind it, in
18 some cases followed on maybe after a few months had
19 gone by. But those were the systemic and
20 feature-based samples that June did some chlorine-36
21 measurements on and reported the early chlorine-36
22 results.

23 The chlorine-36 testing, there had been an
24 assertion that a layer of non-welded tuffs, the
25 Paintbrush non-welded units or the Paintbrush Tuffs,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the non-welded units, provided a tin roof or some sort
2 of a barrier to infiltration and that it was likely
3 that no infiltration made it through those.

4 And so the bomb pulse chlorine-36 reading
5 below those units in the repository horizon was an
6 interesting result. Now, the word "localized" that
7 appears in that third bullet is a key word.

8 No one asserts that there's any more than
9 just a few localized areas where there are fast
10 pathways, as indicated by the data that we have
11 collected. But there were a few at the Sundance
12 Fault, at the Drill Hole Wash Fault locations, which
13 is where studies have sort of focused.

14 Now, the fracture mineral, we continued
15 with the excavation through the ECRB. And people have
16 looked at chlorine-36 in there. I think there have
17 been a few hits.

18 So, with these bomb pulse hits, these few
19 fast pathways, the DOE chose to fund a validation
20 study and have another organization other than Los
21 Alamos take a look at the results and see if they
22 could replicate it. And that was a decision I didn't
23 participate in, but it was a decision that was made.

24 Now, there is a typo on this last bullet.
25 It says, "Lawrence Livermore National Laboratory was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 funded to provide a measure of oversight." That
2 should read, "Los Alamos" because we wanted to keep
3 the Los Alamos, who had made the original bomb pulse
4 report, in the study.

5 So next slide. The USGS developed this
6 sampling methodology, and they were worried about
7 contamination. This was long after the TBM had gone
8 through and there had been some wall washing and
9 things.

10 So they decided to drill core holes. And
11 they drilled 50 core holes. They drilled 40 of them
12 4 meters deep into the Sundance Fault area, where one
13 of the hits had been reported, and another 10 in the
14 Drill Hole Wash area, which was in the north ramp and
15 wasn't so much of a repository horizon, but they
16 drilled some there because there had been hits there
17 also. And they focused on that.

18 Two meters, it was the furthest back in
19 the wall to sort of minimize assertions of
20 contamination. And they worked with Mark Caffee. And
21 he leached those samples. And he reported very low
22 levels, lower than any that have been reported by Los
23 Alamos. And they started to look at his technique.

24 And he was leaching the samples. USGS got
25 the samples and then actually just sent the samples in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bulk to Livermore and let them do all the work from
2 there on. And he leached the samples by crushing them
3 and rotating them in a drum for eight hours.

4 And when people got to looking at that,
5 they thought that was somewhat too aggressive of a
6 leach. He defended his original work as chlorine is
7 hard to get out of rock. But in the end, they decided
8 to perform some leaching studies.

9 And the USGS and Los Alamos did a lot of
10 work to look at how leaching affected the samples and
11 what kind of results you got and settled on a mutually
12 agreeable path that short passive leach, for example,
13 an hour was desirable as sort of passively genuous,
14 short passive leach, where you just put the sample in
15 the water and let it leach for an hour and then take
16 the sample out and send the results in to be looked
17 at.

18 CHAIRMAN RYAN: Just a quick question.
19 Leaching is a surface area question. Are you talking
20 about taking a chunk of rock and just sticking it in
21 a leach solution?

22 DR. D. COLEMAN: Right, crushing it and
23 sizing it maybe to die size, but I think essentially
24 in some of Jean's work, she put whole blocks in a pot
25 and leached them, crushed them sometimes and leached

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 them. And these I think were crushed and sized and
2 leached but yes, pretty much just putting it in and
3 letting it --

4 CHAIRMAN RYAN: They were crushed, then
5 sized and leached, though?

6 DR. D. COLEMAN: Sized and leached, yes.
7 And they looked at the size effects of things. And
8 that is all described, but I will get to where that is
9 described.

10 So on the samples that they performed the
11 leaching studies, the USGS leached some samples using
12 the mutually agreed-upon technique and sent aliquots
13 -- so that's the water, the leachate -- to Los Alamos
14 and Livermore.

15 Now, Los Alamos preferred to spike their
16 own samples and precipitate their own targets and get
17 them all ready for David to just put in his AMS,
18 however that works, but it could be described in the
19 process.

20 Livermore, the USGS sent them to
21 Livermore. And they did that same process, the
22 spiking, the targets, and putting them in the AMS.
23 And those two agreed on a one-to-one line on a graph
24 when they were plotted. And that is kind of a key
25 result.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 It is that result that led us to be
2 confident that the wet chemistry or the AMS part was
3 really not the problem. They could both get the same
4 answer from a water sample taken and sent and the wet
5 chemistry done each according to their own AMS done
6 that they could replicate each other's results.

7 Now, admittedly, it was a low result, but
8 I guess for me, the -- what I am wanting to call the
9 wet chemistry and the AMS, the part that David was
10 talking about today. I don't believe that is where
11 the area of disagreement is. I believe it's
12 elsewhere.

13 But the tricky part is there was some core
14 that June had originally done that showed a bomb pulse
15 signature, and it was for Niche 1, which is near the
16 Sundance Fault area, where other hits had been
17 reported.

18 So it had some nice advantages, whether it
19 be block samples, like June had used; it was core,
20 like the USGS had used; it had shown a bomb pulse hit
21 before in the Los Alamos work, and there remained a
22 requisite two kilograms or so necessary for each site
23 to have a split.

24 So there was a section of core remaining,
25 maybe with some gaps in it and sort of short core

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lengths in a box. And they didn't just divide it in
2 half. They took a piece for you and a piece for me,
3 a piece for you, a piece for me until each side had
4 half of the sample and it was roughly a kilogram,
5 which is about the minimum you need to get a leach or
6 you start getting those low-end values that everybody
7 worries about. And they leached those.

8 Now, the difference between this one up
9 here is the USGS leached both samples and then had the
10 wet chemistry done at Los Alamos and Livermore. But
11 down here it was LLNL leached their own and the USGS
12 leached their own. And then the USGS sent the
13 leachate to Livermore. And Los Alamos precipitated
14 and then sent to Livermore.

15 And Los Alamos replicated their early
16 result of bomb pulse. And the USGS replicated their
17 early results of no bomb pulse. So at that point we
18 still had a -- conflicting results is what I would
19 term them. And we were out of sample that was
20 suitable for testing for bomb pulse, and we were kind
21 of at a decision point.

22 There were three years worth of work that
23 had gone into this. The leaching protocols had been
24 agreed upon. The GS had sort of done all they could
25 to validate. They had used up all their validation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 core. I had to go get new samples, and it wasn't
2 clear to me that maybe just the taking of the samples
3 was a problem.

4 I mean, when you're at a point like this,
5 you've got to really think about what your next move
6 is going to be. And what we chose to do was have them
7 write the report up and write a joint report that
8 represented both viewpoints.

9 CHAIRMAN RYAN: There could be one
10 viewpoint that consolidates all of the data. And that
11 is, if you went out and replicated these samples a
12 number of times, you would end up with the same
13 result. The range would be if I am reading this right
14 244 to 8,580. Reality is somewhere in between that
15 range.

16 DR. D. COLEMAN: Yes. The --

17 CHAIRMAN RYAN: There is a possibility
18 that nobody did anything wrong and this is just the
19 natural variation of what you're going to --

20 DR. D. COLEMAN: Right. There is no clear
21 admission by me that either one is wrong or that it's
22 necessary that either one be wrong.

23 CHAIRMAN RYAN: Right, exactly.

24 DR. D. COLEMAN: The difficulty is, you
25 know, what samples do you go get and test. And, you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 know, the USGS never did show an bomb pulse. Los
2 Alamos showed it rarely but at least occasionally.

3 And, you know, another -- I mean, we could
4 have done more work with them. Both groups were
5 confident that they could drive it to a resolution.
6 They didn't want to give up on it.

7 They to this day are not ready to give up
8 on it. They would love to take over the work. But
9 the department took a look at it and thought the best
10 idea was to write up the results in a report that
11 discussed the areas of agreement, the areas of
12 conflict, discussed every facet of the work, and that
13 both scientists would stand behind as representing
14 their points of view, even though they were divergent
15 a little bit.

16 I mean, at some point you're looking like
17 you're not going to write anything up until you get an
18 answer that you like. And that is a perception
19 problem that you might have to deal with.

20 I mean, from this point looking back and
21 getting ready for this presentation, I kind of
22 relooked at my decision. And I don't really
23 second-guess it. Now, I wasn't the only one that made
24 the decision. There were lots of people higher up
25 into the department than me that participated, but I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 don't really second-guess the decision.

2 So they wrote it up. The report is
3 entitled "Chlorine-36 Validation Study at Yucca
4 Mountain, Nevada." It's completed all of its reviews.
5 The last comments were being resolved. When I talked
6 to them just before I came here, they had gotten a few
7 more comments from the QA guys, and they were a little
8 bit upset about that. But they're working to resolve
9 those.

10 And the report should be available pretty
11 shortly. Of course, I will work with Neil or somebody
12 to get a copy of that through the public release
13 review and to interested parties.

14 This is one summary figure that is in the
15 report. It shows all of the work from all of the
16 various phases in one figure. There are figures on
17 tritium. There are figures on the overall tunnel
18 data. There are a lot of figures. But the
19 significant one is that little box at the very top and
20 the one below it are probably the last results where
21 Los Alamos validated their previous findings of bomb
22 pulse in this vicinity.

23 And all the USGS squares are kind of below
24 1,000, some getting up close but sort of below 1,000.
25 And so those never showed bomb pulse from this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 repository horizon area. And then the yellow boxes
2 are some earlier LLNL work in the vicinity of the
3 Sundance Fault here.

4 So the second part of my talk was the
5 UCCSN follow-on work. Now, I've got to correct this
6 slide. I said, "Proposals for a follow-on study were
7 requested," And I was talking to a guy who did that
8 work. And he had asked me to get together a proposal
9 from the university system.

10 And the sense I got from him at the time
11 is that he was getting several proposals together to
12 look at. But it turns out he was just interviewing
13 various people to see who the real good experts were.
14 So I would change "Proposals for a follow-on study" to
15 sort of "Interviews of chlorine-36 community were
16 conducted. And possibilities were passed forward,
17 evaluated, or something like that. I just wanted to
18 note that because I was asked by one of my researchers
19 about proposals.

20 And the proposal I got together from the
21 university, I just asked them to pull one together.
22 But they had, again, Fred Phillips, who was talked
23 about by David as one of the early experts.

24 I looked at his list of publications, and
25 there were 90-something publications from 1970

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 something forward. And I'm wanting to say 95 percent
2 of them had "Chlorine-36" in the title. I don't know
3 that he was doing any of the lab work or the sampling.
4 He was more oversight.

5 And Jean Cline, a university professor who
6 had worked on fluid inclusions earlier, her areas of
7 expertise were Carlin coal deposits and high
8 temperature fluid inclusions. And she did some
9 low-temperature fluid inclusion work for us and dined
10 out on that for a while.

11 And then her other area of interest is
12 sampling biases, what effects they can have on a
13 study. And she believed that the answer was in the
14 fractures and the sampling and the way you looked at
15 it. And she was kind of similar to your earlier
16 statement. I believe maybe both of them were right if
17 you just understood what you were measuring.

18 She wanted to look at the plains, the
19 fracture plains, making them soft, just the plain
20 itself, where fluid would have dropped, would have
21 traveled, and then leach that, as opposed to leaching
22 a lot of rock that may not have seen the fluid
23 traveling fast.

24 But, anyway, that was the study. And we
25 funded that. Their study was entitled "Bomb Pulse

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Chlorine-36 at the Proposed Yucca Mountain Repository
2 Horizon: An Investigation of Previously Conflicts and
3 Collection of New Data."

4 And in their proposal, they were going to
5 attempt to determine the cause of the conflicting
6 results and obtain additional data and, at least
7 informally, they told me that they were going to try
8 and figure out what had happened to lead to the
9 earlier conflicting results.

10 So they were gung ho to go. And they
11 developed their scientific investigation plans over a
12 couple of months. And right around Christmas of 2003,
13 we're just about to go get their samples. My safety
14 and health arm wanted to upgrade some mine power
15 centers and some different things in there.

16 The bottom line is we put them on hiatus
17 for a year while we upgraded those mine power centers.
18 When you upgraded them, workers in the underground
19 couldn't be there because maybe you had the
20 ventilation off or you had safety issues.

21 And so they looked at all the work that
22 was going on and judged it as to how critical it was.
23 And I tried to have this be critical, but it's
24 difficult to argue against safety. And in the end, I
25 acquiesced. And we put that study on hold.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Of course, you lose a little focus with
2 your team when you are on hold for a year. But early
3 in 2005, we started back in to try to get some samples
4 and finished our sampling in about July of 2005. And
5 they leached their first set of samples for
6 chlorine-36 in August of 2005 and sent me a
7 spreadsheet of the results. And they had some data
8 that were just really high.

9 If you were to look at this figure back on
10 page 7 and see the range there is 100 to 10,000 and on
11 the spreadsheet that they gave me out of those first
12 samples, they had some numbers that were 300,000 and
13 some of those were the samples that were measured
14 during the early leaching experiments -- we still had
15 some of that material left. And they were using that.
16 They were trying to replicate, of course, earlier
17 results also. And so they had some really high
18 values.

19 I was on a telecon where Fred was talking
20 it over with them about what --

21 MEMBER HINZE: Excuse me. Who did their
22 sample corporation? And who did their measurements?

23 DR. D. COLEMAN: I think they did their
24 own targets and leaching. They didn't send it to you
25 guys to --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. ELMORE: I don't know.

2 DR. D. COLEMAN: You don't know for sure?
3 I think they did their own. I think they prepared
4 them sort of similar to Los Alamos, did their own
5 leaching, did their own spiking, and did their own
6 target preparation. But they're in the process of
7 writing up their results. I'll be able to give you an
8 answer. I'll take that question and try to get you an
9 answer as to who did their spike.

10 Is that what you're asking, spiking?

11 MEMBER HINZE: Who did the analysis?

12 MEMBER WEINER: I guess Livermore did.

13 DR. D. COLEMAN: Analysis, AMS were sent
14 to PRIME.

15 MEMBER CLARKE: They were sent to PRIME?

16 DR. D. COLEMAN: Oh, yes. Yes. He
17 mentioned Jim Cizdziel earlier as somebody -- in fact,
18 I think the results he showed were some of their later
19 studies.

20 Now, when these high values came, we had
21 a telecon with Fred on it. I mean, you know, I have
22 to be careful what I say about somebody's lab -- it's
23 the way they make their livings -- and, you know,
24 having a rookie make a lot of statements that are
25 wrong about what went on in someone's lab, but the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bottom line was the only thing around I think that had
2 that kind of levels was their new standard. So
3 something had gotten away, you know.

4 I was going to actually ask David. When
5 you buy a standard, how hot is a standard?

6 DR. ELMORE: It can be very hot, but --

7 DR. D. COLEMAN: A standard could be
8 300,000 parts per 10 --

9 MEMBER HINZE: Excuse me. David, would
10 you --

11 MR. D. COLEMAN: Move to the table.

12 DR. ELMORE: Typically users preparing
13 samples do not prepare a standard. Okay? The
14 standard only comes from the --

15 DR. D. COLEMAN: But you buy a NIST, a
16 bottle of --

17 DR. ELMORE: Yes. I don't know what they
18 sell, but there is a lot of chlorine-36 around. And
19 a problem can be if a laboratory dealt with reactor
20 materials for any purpose; for example, neutron
21 activation analysis.

22 Chlorine can be a volatile forms and can
23 be around for many years before in a lab. So it's
24 very important to do a swipe test, to prepare a blank
25 from dust in the room and that kind of thing.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. D. COLEMAN: I think they have blanks
2 and stuff, you know, but --

3 DR. ELMORE: But yes. Certainly there are
4 high sources of chlorine-36 that can get into samples
5 --

6 DR. D. COLEMAN: Right.

7 DR. ELMORE: -- without you knowing it.

8 DR. D. COLEMAN: Right. So the bottom
9 line was they had these high values. And Fred's
10 recommendation was that they can destroy all their
11 glassware and move to a new lab. And they took a shot
12 at cleaning up their lab and cleaning up their
13 glassware, but they still didn't like the results.
14 They've now moved to a new lab.

15 And, you know, when that happens to you,
16 then you spend a couple of rounds of AMS time trying
17 to convince yourself that you've got numbers that you
18 can believe in. So you're mostly blanks then, and
19 you're sending them in to see if your lab is good.
20 And that is kind of a lot of what they have been doing
21 here recently.

22 I think the AMS runs chlorine-36 something
23 like once a quarter. Is that accurate? So the time
24 goes slow on sampling, but they got -- their most
25 recent results came back on March 31. And it may have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 even been some of those that you showed, those
2 Cizdziels or he had some other ones in not too long
3 ago. And that is kind of where they are at.

4 And contractually when you are working
5 with coop tasks, you get -- if we can go back? I
6 forget exactly where I'm at now, but maybe page 10.

7 MEMBER HINZE: I think 9 is where you --

8 DR. D. COLEMAN: Yes. Nine maybe I left
9 off. So if we're on 10, they took measures to reduce
10 their background and prepared and tested additional
11 blanks to verify their techniques. They're reasonably
12 confident they got these issues resolved.

13 And they have tested some rocket soil
14 samples. Again, the samples were analyzed by PRIME on
15 3/31 or maybe not on 3/31, but he got the results back
16 on 3/31. So that may be. You may want to correct
17 that little statement.

18 And they're being reviewed. Now, he
19 didn't want to discuss his results with me, and I
20 didn't really want to put them up on the board here
21 until his team had reviewed them. You know, I'm
22 sympathetic to the researchers that --

23 CHAIRMAN RYAN: That's fair enough.

24 DR. D. COLEMAN: -- about holding onto
25 their data until they're ready to --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: Fair enough.

2 DR. D. COLEMAN: -- put it out. So their
3 study has actually concluded because contractually
4 their study, they thought they could do this study in
5 18 months. And, of course, we put them on that
6 one-year hiatus. And we gave them a one-year no-cost
7 extension, but that's all you get under the way that
8 contracts work or even grants, as these are our
9 cooperative agreement with the university.

10 So my discussions with them indicate they
11 are interested in pursuing further the study, but
12 they're writing up their results to date. And they
13 have some 60 days from the end of the contract at
14 March 31 to write their results up and get them QAed
15 and get all their data into the system. And they
16 might be able to get a few extensions for that.

17 But that is pretty much where we are
18 there. My management or at least my immediate
19 management is interested in pursuing the chlorine-36
20 work with the university. I'm interested in pursuing
21 it. I think they're interested in pursuing it.

22 But the actual work of either getting it
23 in the annual plan or putting together a change
24 through DOE's processes is kind of in the works right
25 now.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And they have quite a few samples that
2 remain unleached. They got a lot of samples so that
3 they could slice off portions and test it. And
4 they're confident that they haven't contaminated those
5 existing samples, although when I was talking to them
6 just the other day, they probably would want to come
7 and get some more samples.

8 But I think I will end my talk there and
9 try to field questions as best I can.

10 MEMBER HINZE: Well, we thank you very
11 much, Drew, understanding the limitations of not
12 having the report from the validation study or report
13 from the university cooperative work.

14 DR. D. COLEMAN: Yes. Maybe one further
15 point. I agree with you and David that the instrument
16 is the least likely source of the big errors and the
17 errors are elsewhere or the conflicting results.

18 I guess, although maybe characterizing
19 clearly the errors, like the point you made, is a good
20 one, I think our difficulties are involved in maybe
21 the contamination or the sampling or the preparation
22 of the samples.

23 My sense is once you get it into water and
24 get it to them, it's really a pretty routine
25 measurement. A lot of people use it and a lot of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 people have confidence in my investigators taking a
2 water sample from depth and sending it. They would
3 have no worries. It's somewhere in the leaching and
4 sampling and contamination world that people worry
5 about the technique.

6 CHAIRMAN RYAN: The real secret is when we
7 turn your sense of that into numbers.

8 DR. D. COLEMAN: Yes.

9 CHAIRMAN RYAN: That is when we will know
10 what is right and wrong.

11 DR. D. COLEMAN: Right.

12 CHAIRMAN RYAN: I mean, I just find that
13 your talk was interesting. Your folks are obviously
14 qualified and have done a good job. You know, when
15 they start this process, they end up having all sorts
16 of headaches and problems.

17 This is not, as I think was pointed out
18 earlier, an easy measurement to make and certainly
19 systematic. To me, it screams out for a systematic
20 assessment of uncertainty.

21 DR. D. COLEMAN: Yes.

22 MEMBER HINZE: Let's make certain we have
23 all the questions asked. Dr. Clarke?

24 MEMBER CLARKE: Thank you, Drew.

25 Can we go to slide 5? I'd like to go

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 through this slide, maybe the next one for two
2 reasons: one, to make sure that I understand it; and,
3 two, I think that will give us an opportunity as we go
4 through the slide to point out the possible sources of
5 error.

6 So, as I understand it, one core is
7 reached. There were two cores. One core was reached,
8 and that leachate was sweat.

9 DR. D. COLEMAN: Well, I'm wanting to say
10 cores as sort of plural here. Core would be any one
11 of the sets of core from the 40 bore holes.

12 MEMBER CLARKE: No, no. What I am saying
13 is that the U.S. leached samples from the validation
14 core and they split the leachate.

15 DR. D. COLEMAN: Okay.

16 MEMBER CLARKE: Well, you know, if there
17 were two cores, then that's a source.

18 DR. D. COLEMAN: All right. You have the
19 same core.

20 MEMBER CLARKE: If there was one core and
21 they split the leachate, I would think splitting the
22 leachate would be -- I don't think I would be too
23 upset about that.

24 DR. D. COLEMAN: Yes.

25 MEMBER CLARKE: But now they go to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 different groups. And those groups process the
2 sample, I guess, to remove the interferences that
3 David mentioned.

4 DR. D. COLEMAN: The spiking, the
5 precipitation of the target. And it's just the
6 process that these kinds of AMS guys use. Maybe you
7 can weigh in on it. I don't know.

8 MEMBER CLARKE: No. Here I think we're
9 getting into some real possibilities for variation.

10 DR. D. COLEMAN: Okay.

11 MEMBER CLARKE: So I would put a circle
12 around that second bullet.

13 Then the results of the two generally
14 agree. Now, is that the range of all of the data or
15 is that the range of the disagreement?

16 DR. D. COLEMAN: They had a graph. And
17 I'm not as good at Powerpoint presentations as I would
18 like to be, but this would be USGS and Los Alamos.
19 And they had a one-to-one line. And those samples
20 just lay right on it from that using, one, their
21 technique; and, the other, his technique. And they
22 were all low. They were in the range of 250 to 500,
23 but they had a really nice one-to-one line fit there.

24 MEMBER CLARKE: Then the other point I
25 guess I would make is that these samples went to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 same lab. Is that right?

2 DR. D. COLEMAN: The same AMS lab?

3 MEMBER CLARKE: Yes.

4 DR. D. COLEMAN: Yes. I think they both
5 went to --

6 MEMBER CLARKE: Livermore.

7 DR. D. COLEMAN: -- Livermore at that
8 time.

9 MEMBER CLARKE: So you've got --

10 DR. D. COLEMAN: Los Alamos didn't use
11 them a lot. And the USGS purposely used Livermore.
12 But then toward the end, I mean, Caffee had been at
13 Livermore. And then he went to PRIME, and that sort
14 of confused the whole --

15 MEMBER CLARKE: Let's just stick with this
16 slide.

17 DR. D. COLEMAN: All right.

18 MEMBER CLARKE: Okay? Because we have
19 identified that there was one core. So we're not into
20 variation between core to core. We do know that they
21 processed the samples perhaps differently at different
22 locations. That could be a major source of
23 disagreement.

24 DR. D. COLEMAN: Well, they got the
25 one-to-one fit, though, on those.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER CLARKE: Well, but, you know,
2 again, we're looking at variation of the data.

3 DR. D. COLEMAN: Yes.

4 MEMBER CLARKE: And then if they went to
5 the same lab and there is no inter-lab variation,
6 there is just intra-lab variation, in other words,
7 these samples would have been at variations times.
8 There could be variation from room to room.

9 But I think if you go through this in the
10 end and nail down where it went and where did it
11 apply, I think you can identify the sources of
12 disagreement. You can do the same thing for the next
13 one.

14 So I think I like Mike's suggestion.
15 Again, this may all be one distribution.

16 DR. D. COLEMAN: You know, one of the nice
17 parts about having them wire the report up is to have
18 it all laid out in black and white so anybody can read
19 it. Maybe somebody can spot the point problem, "Oh,
20 there's your problem right there."

21 CHAIRMAN RYAN: Hopefully the raw data
22 will be in the report.

23 MEMBER CLARKE: The only thing that this
24 suggests is that there really is merit to describing
25 variation from method to method. And there is merit

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to somehow quantifying uncertainty from lab to lab if
2 these are going to continue. And then I think you can
3 start to get a handle on it.

4 So a systematic approach through what was
5 done, who did it, where it was done, you know, could
6 I think be very helpful. You haven't done, I guess,
7 enough analyses. You have no inter-lab variation --
8 maybe you do; I don't know -- or inter-method
9 variation between these different sample processes.

10 DR. D. COLEMAN: Yes. We have probably
11 got data available to take a look at different --

12 MEMBER CLARKE: If you have got the data,
13 then you could do a fix on that to some extent.

14 Thank you. That was my only -- really, it
15 wasn't a question. It was one --

16 MEMBER HINZE: Dr. Ryan?

17 CHAIRMAN RYAN: Thank you, Professor
18 Hinze. Just one last comment.

19 I'm reading the last slide. The technique
20 that is testing rock samples from deep, unsaturated
21 zone for bomb pulse chlorine-36 needs additional
22 confirmation to build confidence in the measurement
23 interpretation of data.

24 I guess I still agree with that. That is
25 what I said -- I don't know -- two years ago at a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 meeting in Vegas. I'm concluding that the ball isn't
2 much further down the field at this point.

3 DR. D. COLEMAN: Yes. I would say that is
4 a pretty good conclusion.

5 CHAIRMAN RYAN: Okay.

6 DR. D. COLEMAN: You know, there are some
7 suggestive things in there.

8 CHAIRMAN RYAN: Right. You've got to --

9 DR. D. COLEMAN: We can look at them, but
10 --

11 CHAIRMAN RYAN: We haven't gotten to first
12 down.

13 DR. D. COLEMAN: Again, I hope this
14 doesn't imply that it's just using this technique for
15 fast pathways to the deep unsaturated zone, leaching
16 that water out I'm talking about here, not the AMS or
17 water samples or --

18 CHAIRMAN RYAN: No. Again, I appreciate
19 the fact, one, this is a very difficult measurement;
20 two is it takes real expertise and precision to do it.
21 But in spite of the best efforts, it seems like it's
22 hard to really nail down, you know, what is an actual
23 sample value and what the distributions might be. And
24 we're still struggling with that in the application of
25 taking a sample all the way through to the end and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reporting a measurement.

2 DR. D. COLEMAN: And this is sort of a DOE
3 conclusion. If you were to ask some of my
4 researchers, particularly Los Alamos ones, they might
5 have a different look at this. They have validated
6 their results. And so that is probably something I
7 should mention here also, you know.

8 MEMBER HINZE: They'll have a chance to
9 express that in the report, right?

10 DR. D. COLEMAN: Yes. You can read that
11 for yourself.

12 MEMBER HINZE: Okay.

13 CHAIRMAN RYAN: Allen?

14 VICE CHAIRMAN CROFF: I guess, as a
15 practical matter, do you have any alternatives to this
16 whole approach?

17 DR. D. COLEMAN: Well, our analysis is not
18 inconsistent with a few fast pathways. And I think
19 that is a reasonable modeling approach. So yes, I
20 don't -- I mean, this data could be helpful. And it's
21 interesting data to pursue.

22 And knowing that on the speed of travel of
23 water to the repository horizon is a good thing to
24 know. And I don't want to minimize the value that it
25 could have, but I don't see this as snagged up or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 anything waiting on this measure.

2 I mean, this is a measure that we
3 undertook. And we're doing some more work to try to
4 make sure we understand it. But it's not on the
5 critical path, I don't believe, to -- you know, maybe
6 moving forward with the license for the repository.
7 That would be my -- so we're going to continue to
8 pursue it and hopefully resolve it. And hopefully it
9 will give some understanding of the --

10 VICE CHAIRMAN CROFF: Roughly how long is
11 it that it is believed that water takes to go from the
12 surface on one of these fast paths down to the
13 repository horizon? Is it a 50-year or 500 or --

14 DR. D. COLEMAN: Yes, 50 or so years. If
15 it's got a bomb pulse signature that you can
16 confidently conclude, then that took place. Somebody
17 could give you the hour, minute, and second that it
18 was a bikini atoll test or something like that.

19 VICE CHAIRMAN CROFF: It was in the mid
20 1950s. Somebody initiated the experiment that put the
21 tracer in at the surface. I mean, granted, it may
22 take a few years, but --

23 DR. D. COLEMAN: I don't think that's what
24 they were thinking about, but people like David here
25 are figuring out ways to utilize them. And that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 worked to increase everybody's knowledge, I guess,
2 interesting work.

3 VICE CHAIRMAN CROFF: Okay. Thanks.

4 CHAIRMAN RYAN: Ruth, take it away.

5 MEMBER WEINER: Is there anywhere in the
6 world where you can measure the variation of
7 chlorine-36 without the interference of a bomb pulse
8 or where you could with some confidence subtract the
9 interference of the bomb pulse? What I'm getting at
10 is, what is the variation that you get in chlorine-36?
11 What is the range of variation without that? Do you
12 know or is there any way to figure that out?

13 DR. ELMORE: There's been a lot of work
14 done with ice cores from Greenland and Antarctic. And
15 most of that ice is deeper than -- the H's are known
16 pretty well for the ice. And that's where the bomb
17 pulse is measured in an ice core.

18 And so the deeper ice, which goes back as
19 far as 300,000 years -- and there have been profiles
20 back there. And then there is nothing that sticks out
21 anything close to the bomb pulse. It's all below
22 1,000 times 10^{-15} .

23 MEMBER WEINER: That answers my question.

24 DR. D. COLEMAN: I've seen graphs where it
25 varied between 500 and 1,000 or something. And this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 one has holocene. If you go to slide 7, you've got
2 sort of holocene and maximum pleistocene, but it's
3 varied through time. And I'm not sure exactly the
4 mechanism for that.

5 It would be like magnetic field changes or
6 something like that. That is the range sort of that
7 it's varied between, I think.

8 DR. ELMORE: Yes, 500 to 1,000. I mean,
9 there is another source, from mountaintops, where the
10 cosmic ray flux is higher, production in the top meter
11 of the surface. And that can go to a few thousand
12 probably. So it can go higher than this but nothing
13 like the bomb pulse.

14 MEMBER WEINER: There is nothing that
15 would be comparable to the very high levels that you
16 see in these reports?

17 DR. ELMORE: That is correct. And even if
18 it's, I mean, somehow contamination from a nuclear
19 facility or something, which could be more recent.
20 But we know none of that goes past 1945. So prior to
21 1945, there are no manmade sources either.

22 MEMBER HINZE: A last question. When can
23 we anticipate a report from the university and
24 community college system?

25 DR. D. COLEMAN: Well, 60 days from March

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 31 is their deadline to have their data in and through
2 QA and some sort of a report. Now, it may not be this
3 report that the USGS is working on in Los Alamos is
4 two inches. And I'm thinking 60 days, you're going to
5 be looking more like, you know, 10 pages with 4
6 figures or something, which in some ways is a better
7 report than your two-inch report anyway. So 60 days,
8 I guess, is -- and they may be able to apply for some
9 extensions but should be available maybe in the summer
10 here.

11 MEMBER HINZE: Well, we'll appreciate a
12 heads up through Neil Coleman on that. With that, I
13 thank both of you gentlemen for excellent
14 presentations. It's been very helpful, very
15 informative. And with that, I'll turn it back to the
16 Chairman.

17 CHAIRMAN RYAN: And, with that, Professor
18 Hinze, it's time to adjourn for lunch and reconvene at
19 2:00 o'clock.

20 (Whereupon, a luncheon recess was taken
21 at 12:01 p.m. until 2:01 p.m.)

22 CHAIRMAN RYAN: This is Mike Ryan,
23 Chairman of the ACNW. I would like to call the
24 afternoon session to order and if I could ask the
25 folks on the conference call phone to tell us who you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are.

2 MR. FITZPATRICK: Charlie Fitzpatrick from
3 the State of Nevada.

4 CHAIRMAN RYAN: Okay. Thank you. Anybody
5 else?

6 MR. JENKINS-SMITH: Yes. Hank Jenkins-
7 Smith, Texas A&M University.

8 CHAIRMAN RYAN: Hello Hank. Okay. Thank
9 you for introducing yourselves. We have reconvened
10 the Committee and our afternoon speakers. Our session
11 is going to be broken into two parts this afternoon.
12 The first part Dr. Weiner will lead us in a discussion
13 of a recent National Academy Transportation Study and
14 then we'll go onto the NARM, Naturally Occurring or
15 Accelerator-Produced Radioactive Materials rulemaking.

16 But before we do that, I'd like to
17 introduce again to members and staff and particularly
18 the staff beyond the ACNW staff a recent addition to
19 the ACNW staff. Dr. Antonio Diaz joined the ACNW
20 staff on April 10th. He will be working as the Team
21 Leader for ACNW Technical Support branch. Dr. Diaz
22 has a Bachelors degree in Electrical Engineering and
23 a Masters degree in Nuclear Engineering from Brazil
24 and he is a Ph.D. in Nuclear Engineering from the
25 Massachusetts Institute of Technology.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 He joined the NRC in November 2001 as a
2 Technical Reviewer in the Spent Fuel Project Office
3 where he was involved in the review of several
4 transportation and storage applications in the
5 technical areas of Thermal Criticality and
6 Containment. He also participated in inspections of
7 waste storage not only reviewing operations but also
8 their associated procedures.

9 He acted as Section Chief for two months
10 supervising the Technical Review group, TRA. Prior to
11 joining the NRC, Dr. Diaz worked for several years as
12 a consultant providing services to many U.S. utilities
13 as well as the Electric Power Research Institute.

14 His main area of expertise was
15 assimilation of multi-dimensional time-dependent
16 neutronic and thermal hydraulic postulated events for
17 light water reactor. Dr. Diaz's early MS work
18 addressed the behavior of light water reactor fuel
19 elements during normal and transient conditions in
20 order to understand possible fuel failure causes.

21 Dr. Diaz, welcome to the staff and welcome
22 to the ACNW.

23 DR. DIAZ: Thank you very much.

24 CHAIRMAN RYAN: And with that, Ruth, I'll
25 turn over the next segment of the session to you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Thank you.

2 MEMBER WEINER: Thank you, Mr. Chairman.
3 The next section of our meeting we'll be discussing
4 the recently issued National Research Council report
5 on Transportation of Spent Nuclear Fuel and High Level
6 Waste entitled "Going the Distance." And our
7 panelists are, our panel, in fact, will be led by
8 Kevin Crowley who is the Study Director for the
9 Nuclear and Radiations Studies Board and he is
10 assisted here by Joseph Morris who is the Senior
11 Program Officer who will help him.

12 We also have Dr. Mel Kanninen who will
13 talk on long duration fires and on anything else that
14 you would like to add to. On the telephone, we will
15 have hopefully Dr. Claude Young from the U.K.
16 Although it is 7:00 p.m. in the U.K. now, he has
17 graciously agreed to be present by phone and Dr. Hank
18 Jenkins-Smith from Texas A&M University to talk about
19 social and institutional challenges.

20 Please if there are any people in the
21 audience who would like to make a statement or ask a
22 question our normal procedure is to go first, have the
23 presentations and have members of the Committee and
24 staff ask questions and then there is enough time
25 allowed, I believe, for anyone who wishes to make a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 comment or ask a question to speak up. If you haven't
2 signed in, I will recognize you at the time. With
3 that said, Dr. Crowley, go ahead.

4 DR. CROWLEY: Thank you very much for the
5 invitation to be here today. I'm sorry that more of
6 our committee members couldn't join us, but they are
7 pretty busy folks. What I'd like to do if it's all
8 right with you is to take ten to fifteen minutes and
9 just give you a high level overview of what's in the
10 report and then we can dive into the issues that
11 you've identified. Does that sound all right?

12 MEMBER WEINER: Certainly.

13 DR. CROWLEY: And it will be up to you
14 whether or not you want to stop me along the way or
15 whether you just want me to get through this. It's
16 your pleasure.

17 MEMBER WEINER: I've noticed that the
18 Committee is not shy about asking questions when they
19 arise.

20 DR. CROWLEY: All right. So I have
21 somebody to change the slides for me presumably. All
22 right. Let's go directly to the next slide. I'm
23 going to hit some of these very quickly and then spend
24 a little time on some of the others.

25 This slide is just to remind you that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there are really two parts of this study, a part that
2 was self-initiated looking at the risks of transport
3 and key technical and societal concerns particularly
4 over the next two decades. When we were almost
5 completely finished with this study, we added a
6 congressionally-mandated task looking at the matter in
7 which DOE selects routes for shipment of research
8 reactor fuel. So we had an additional meeting and we
9 basically had to completely reorganize the report in
10 order to include that extra task. Next slide.

11 Just a list of the study sponsors of which
12 the Nuclear Regulatory Commission is one. Next slide.

13 This is the list of the study committee.
14 You'll recognize some of these people but not all of
15 these people. It was chaired by Dr. Neal Lane of Rice
16 University who was formerly the Director of National
17 Science Foundation and the President's Science
18 Advisor.

19 And if you go to the next slide, you can
20 see the collective committee expertise that is
21 represented by the members. When we put this
22 committee together, we tried to make sure that we had
23 certainly the right mix of disciplinary expertise, but
24 we also tried to have a balance between members who
25 have worked in the nuclear spent fuel and high level

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 waste transportation area and members who have
2 relevant technical expertise but who haven't worked in
3 this area. Next slide.

4 So let me just go to the bottom line
5 messages for the study. This is the first one and I
6 think probably the most important one. The committee
7 could identify no fundamental technical barriers to
8 the safe transport of spent fuel and high level waste
9 in the United States, but there are a number of
10 societal and institutional issues, institutional
11 challenges, to the successful initial implementation
12 of large quantity shipping programs. The committee
13 defines large quantity shipping programs as programs
14 that ship on the order of hundreds to thousands of
15 metric tons of spent fuel or high level waste and it
16 specifically identified the Yucca Mountain Program and
17 the Private Fuel Storage Program as examples of those
18 types of large quantity programs.

19 This message, the committee spent a lot of
20 time talking about this message. It's very carefully
21 and narrowly constructed. It focuses on the technical
22 aspects of transportation program. It's based on an
23 assessment of past and present research programs and
24 would apply to future programs only to the extent that
25 they continue to exercise appropriate care and adhere

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to applicable regulations. Next slide.

2 This is the committee's message with
3 respect to security. When the Statement of Task was
4 initially constructed which was before September 11th,
5 the focus was not on security. It was on safety.
6 After September 11th, we began to have discussions
7 with the agencies, particularly the Nuclear Regulatory
8 Commission, about trying to expand the task. We
9 actually had a small group of committee members
10 including Mel, Dr. Kanninen, who received a classified
11 briefing from the Nuclear Regulatory Commission on the
12 work that they were doing, although we didn't get any
13 details on the results.

14 It was really just a scoping briefing and
15 the committee concluded that there was enough
16 information to perform, to do, a security review as
17 part of this report, but we essentially ran out of
18 time to do it and also there were questions about what
19 information the unclear members of the committee could
20 get and what we could put into an unclassified final
21 report. So the committee was unable to perform an
22 examination but recommended that such an independent
23 examination be done and noted that in order to
24 undertake such an independent examination, it would
25 require the cooperation of several federal agencies.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Next slide.

2 Chapter 2 of the report addresses in
3 detail package performance and this is something that
4 Mel will be talking about a little later, but these
5 are the committee's bottom line messages on that that
6 the committee felt that current international
7 standards and U.S. regulations are adequate to ensure
8 package containment effectiveness over a wide range of
9 conditions. But there might be a small number of
10 extreme accident conditions involving very long
11 duration fires and the committee recommended that the
12 Nuclear Regulatory Commission undertake additional
13 analyses of very long duration fire scenarios.

14 The Commission was in the process of doing
15 work while the committee study was underway. Some
16 results came out just as the committee was publishing
17 its report. The committee noted those results but
18 didn't have an opportunity really to examine and
19 assess them. I think what the committee is really
20 looking for is the Commission to demonstrate that it
21 has an bounding level understanding of real world
22 conditions that might lead to very long duration fires
23 and that the Commission should put into place any
24 appropriate operational controls and restrictions to
25 reduce the likelihood that such fires would be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 encountered or to reduce their consequences if they
2 were encountered. Next slide.

3 Package testing, something else that Mel
4 will be prepared to talk a little bit more about. The
5 committee strongly endorses full scale testing and
6 recommends that full scale testing should continue to
7 be used as part of an integrated testing program. The
8 committee also recommended the full scale testing of
9 packages to deliberately cause their destruction
10 should not be required. And again, this is a
11 recommendation that the committee spent a lot of time
12 on the wording and I want to emphasize it says "Full
13 scale testing should continue to be used as part of
14 integrated testing programs." Basically, what that
15 means is keep doing what you're doing. Next slide.

16 Transportation risk, Chapter 3 of the
17 report has a fairly lengthy discussion of
18 transportation risk and the conclusions, the findings,
19 from that are shown here. The committee found that
20 the radiological health and safety risks associated
21 with transport are generally low, again, with a
22 possible exception of long duration fires, but the
23 Committee also noted that the likelihood of such fires
24 appears to be small and that their incurrence and
25 consequences can be further reduced through relatively

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 simple operational controls and restrictions.

2 This finding that the radiological health
3 and safety risks are low are based on a number of
4 issues that were examined in the chapter, looking at
5 historical shipments, looking at historical accidents
6 and incidents, looking at the large number of
7 analytical and computer modeling studies that have
8 been done and looking at the full scale testing
9 studies that have been done. Next slide please.

10 Social risks, this will be something that
11 Hank, I hope, will address in more detail. The
12 committee found that the social risks for
13 transportation pose important challenges and that
14 transportation planners can take early and proactive
15 steps to establish formal mechanisms for gathering
16 advice about these risks and the committee recommends
17 that DOE take two steps to try to deal with the issue
18 of transportation risk by creating a new advisory
19 group and augmenting our current advisory group. I
20 want to point out that the committee did not -- One of
21 the things I've heard in the press is that the
22 committee has called for more research on social risk.
23 Actually, the committee's recommendations are for very
24 pragmatic, problem solving steps that should be taken
25 not just go back and do more research. Next slide.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 There are several measures of comparative
2 risk that are provided in Chapter 3, two of them of
3 which I'm going to show you figures for on the next
4 two slides, but one other quantitative measure just
5 comparing the number of estimated latent cancer
6 fatalities for a Yucca Mountain transportation program
7 based on the final EIS that DOE published versus the
8 number of cancer fatalities that you would expect just
9 in the general population and the comparison is one to
10 three latent cancer fatalities for normal transport
11 for a Yucca Mountain program versus the four to six
12 million fatalities that you might just expect from
13 other causes. Next slides.

14 The committee presented what it calls a
15 "Risk Ladder" for normal transportation risks. Let me
16 step back for a minute and talk a little bit about the
17 committee's philosophy in developing risk comparisons.
18 Again, this was an issue that took a lot of time in
19 the committee's closed meeting for discussion, but the
20 committee decided very early on that it did not want
21 the report to appear to be advocating for any
22 particular level of risk and truly wanted to present
23 information that someone who didn't know a lot about
24 this topic could look at that information and then
25 could decide for themselves what the transportation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 risks were.

2 So what the committee attempted to do in
3 comparing risks for high level waste and spent fuel
4 transportation was to bracket them both above and
5 below with risks for other kinds of societal
6 activities. Early on in the committee's
7 deliberations, there was discussion about what sorts
8 of risk should you consider. Should you consider, for
9 example, spent fuel and high level waste
10 transportation risks and compare those to smoking or
11 driving in a car and things of that sort and the
12 committee said, "No, that's not where we want to go.
13 We want to try to compare like risks."

14 So in the comparisons, they were really
15 based on for normal transport conditions, exposures,
16 other kinds of exposures to radiation and those
17 exposures are shown here. There's a whole list of
18 them, things like background radiation, radiation that
19 you would get from airline flights, radiation that you
20 would get from medical procedures. There's a lengthy
21 discussion in the report about the pros and cons of
22 presenting that kind of information, but this is
23 basically where the committee came out.

24 In this figure, I know you can't read all
25 of it, but the black bars show the various estimated

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 exposure types of a Yucca Mountain transportation
2 program. The bar at the top is worker exposure. As
3 it turns out, workers according to the DOE EIS are
4 going to have fairly high exposures. In fact, workers
5 are going to be burned out according to the EIS. As
6 you get down into the public exposures, they are
7 considerably lower and the lowest exposure, somebody
8 who lives along a rail route that is used to transport
9 spent fuel and high level waste, the committee could
10 not find anything that was lower, a lower bracket
11 below that, and that's the lower black bar around the
12 figure.

13 MEMBER WEINER: Let me interrupt you just
14 a moment.

15 DR. CROWLEY: Sure.

16 MEMBER WEINER: I assume that since this
17 is from the FEIS that the worker dose was based on
18 workers having to transfer bare fuel from the
19 transport containers to the waste packages.

20 DR. CROWLEY: No, these are the workers
21 that are going to receive doses during the transport
22 program. So these include the people who will be
23 driving the trucks, people who will be in the escort
24 cars, people who will be doing the inspections of the
25 cars.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: Could you define "burned
2 out"?

3 DR. CROWLEY: They would receive the
4 maximum allowable dose in a given year.

5 CHAIRMAN RYAN: You show 20 millisieverts
6 and elements 50.

7 DR. CROWLEY: The DOE administrative limit
8 is two.

9 CHAIRMAN RYAN: Administrative.

10 DR. CROWLEY: Right.

11 CHAIRMAN RYAN: "Burned out" is a relevant
12 term. I just want to make sure that's clear.

13 DR. CROWLEY: Well, the report does not --

14 CHAIRMAN RYAN: You're not talking about
15 anybody exceeding a regulatory limit.

16 DR. CROWLEY: No, and in fact the report
17 does not use the term "burned out." That was a term
18 that I used.

19 CHAIRMAN RYAN: I just want it to be clear
20 because we're on the record. Thank you.

21 DR. CROWLEY: Okay. All right. The next
22 slide shows a calculation that the committee did for
23 accident conditions of transport and we used the
24 complimentary cumulative distribution functions here
25 comparing spent fuel and high level waste to other

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 kinds of hazmat transport and again the committee made
2 an effort to find an upper and lower bracket, but was
3 unable to do so. The top three curves show the CCDFs
4 for three different kinds of hazmat, chlorine, propane
5 and methanol and you can see the spent fuel CCDF is
6 several orders of magnitude below that.

7 MEMBER WEINER: Again, what was your
8 source of data for releases for the spent fuel?

9 DR. CROWLEY: That was from the Sprung and
10 others, the 2000 Reexamination Report.

11 MEMBER WEINER: And did you consider in
12 the accidents the sort of accident where the truck
13 just sits there for hours and hours until somebody
14 comes along and moves it when you have a fender
15 bender? It doesn't affect the cargo, but the truck
16 just sits.

17 DR. CROWLEY: No, this would be an
18 accident that involved the actual release of
19 radioactive material.

20 MEMBER WEINER: Thank you.

21 MEMBER HINZE: Does that include a fire?

22 DR. CROWLEY: Actually, I think the
23 maximum releases are in a fire. You get the maximum
24 releases in a fire, not from the mechanical impacts.

25 Okay. Let's go on. Again, I'm going to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 just get through this quickly so that we can then come
2 back and discuss some of this. Chapter 4 deals with
3 research reactor spent nuclear fuel routing and this
4 was the add-on task from Congress looking at DOE's
5 program for selecting routes for research reactor
6 spent fuel. There are two major findings here and Joe
7 will be able to speak in more detail to this because
8 he helped the committee prepare this chapter.

9 But the committee found that DOE's
10 procedures for selecting routes within the U.S. for
11 shipments of foreign research reactor fuel appear on
12 the whole to be adequate and reasonable and the DOT
13 routing regulations are a satisfactory means of
14 insuring safe transportation provided that shippers
15 actively and systematically consult with states and
16 tribes along potential routes and states follow route
17 designation procedures. Next slide.

18 That's all I'm going to say about Chapter
19 4. Now let me finish up with just going through some
20 of the findings and recommendations in Chapter 5 which
21 is "Improving Spent Fuel and High Level Waste
22 Transportation in the United States." Many of these
23 findings and recommendations focus on Yucca Mountain,
24 but the committee states in the chapter they would
25 also apply to other large quantity shipping programs

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and the committee notes that private fuel storage is
2 an example of such a program. I also want to point
3 out the committee did not attempt to undertake a
4 detailed programmatic review of the DOE transportation
5 program, although during the study the committee
6 received several briefings from DOE and kept itself
7 informed of the latest changes in DOE's program. Next
8 slide.

9 The committee strongly endorsed DOE's
10 decision to use mostly rail and to ship by dedicated
11 train and recommended that DOE fully implement those
12 decisions before commencing the large quantity
13 shipment to the repository and also examine the
14 feasibility of further reducing the need for cross-
15 country truck shipments. The real concern here is, I
16 think, if the Yucca Mountain repository were to open
17 before the rail spur were finished, DOE might spend a
18 lot of time and a lot of money standing up a truck
19 program and might actually not have the time and the
20 money to finish the rail program and could be stuck
21 with a long term truck transport program. Next slide.

22 The committee recommended that DOE make
23 public its suite of preferred highway and rail routes
24 as soon as possible. Again, this would be for Yucca
25 Mountain to support state, tribal and local planning.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And the committee recommended that DOE follow the
2 practices of its research reactor spent fuel transport
3 program which we discussed in Chapter 4 of involving
4 states and tribes in the routing selections even for
5 rail routing for which the states now do not have a
6 formal role in selecting routes like they do for
7 highways. Next slide.

8 The committee had something to say about
9 the acceptance order for transport of spent fuel to a
10 Yucca Mountain repository. Right now, the standard
11 contract requires DOE to accept whatever fuel an owner
12 wants to give it when the owner's spot in the
13 acceptance view comes up and the committee recommends
14 that DOE should negotiate with the spent fuel owners
15 to ship older fuel first, not the oldest fuel
16 necessarily, but older fuel first and that should
17 these negotiations prove infective, Congress should
18 consider legislative remedies and then finally, the
19 committee recommended that DOE initiate transport to
20 the repository with a pilot program involving
21 movements of older fuel from closed reactors.

22 There were several things that drove the
23 committee's thinking on this one, but one of the
24 concerns again was the worker exposures. If you
25 remember a few slides ago, the workers are getting

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fairly high exposures. Also another concern is if
2 there were to be an accident or a terrorist attack and
3 you did have a release from the spent fuel package,
4 obviously the colder and radiologically cooler that
5 fuel is the better it is. Next slide.

6 The committee had something to say about
7 emergency responder preparedness and recommended that
8 DOE should immediately begin to execute its
9 responsibilities and also federal agencies should
10 promptly complete the job of developing, applying,
11 disclosing criteria for protecting sensitive
12 information. Protect what needs to be protected.
13 Make the material that doesn't need to be protected
14 open and accessible and we can talk a little bit more
15 about the emergency response if you want in the
16 follow-up.

17 MEMBER WEINER: I may reserve this
18 question for Dr. Morris, but it's my understanding and
19 has been my experience on the Whip project that DOE
20 has been preparing emergency responders for some years
21 now, that there is an on-going program. Are you going
22 to comment on that?

23 DR. MORRIS: I wasn't planning on
24 commenting on emergency response.

25 DR. CROWLEY: I can respond to this.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 There is an active emergency response preparedness
2 program for WHIP. That's correct.

3 MEMBER WEINER: I think there's also been
4 an on-going emergency response preparedness under the
5 applicable sections of the Nuclear Waste Policy Act,
6 isn't there?

7 DR. CROWLEY: At this point, my
8 understanding is that DOE has a Transportation
9 External Coordination Working Group and they've been
10 discussing emergency response, but at this point, DOE
11 has not yet begun to execute its 180©)
12 responsibilities.

13 And then finally, the next slide, yes, No.
14 6, the committee makes a recommendation about the
15 structure for DOE's programs for transporting spent
16 fuel and high level waste to a federal repository and
17 recommends that DOE's Secretary and U.S. Congress
18 examine several options for changing that structure
19 and the three possibilities that are discussed in the
20 report are listed there, a quasi-independent DOE
21 office, a quasi-government corporation or a fully-
22 private organization and it would have been beyond the
23 committee's task to recommend any one of those in the
24 report. But the report does go through a fairly
25 extensive discussion of the pros and the cons of each

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of those organizational structures. And then finally,
2 last slide.

3 We released the prepublication version of
4 the report in February and it's available on that
5 website. We're now working on the final version of
6 the report which we'll have editorial and copy editing
7 corrections and that should be issued in June. That
8 in a nutshell is what's in the report.

9 MEMBER WEINER: Thank you. Are there any
10 further questions from any?

11 CHAIRMAN RYAN: Just a quick follow-up.
12 It's on the worker exposure question. Was that based
13 on an analysis of calculational approaches to
14 estimating worker dose or actual worker dose for folks
15 that have moved that kind of material already?

16 DR. CROWLEY: In the DOE EIS for Yucca
17 Mountain, it was based on assumptions, fairly
18 conservative assumptions I should say, about the
19 radiological age of the fuel that would be moved.

20 CHAIRMAN RYAN: So I think it's really not
21 fair to say that workers will receive a dose or they
22 will be burned out or anything of the sort because it
23 really is a calculation and an estimate which by your
24 own reckoning is conservative. There is a body of
25 data on people that have made those kind of shipments

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 around the country whether it's military materials or
2 spent fuel or Navy fuel or other things. So it would
3 be interesting to see if your prediction meets actual
4 experience and that experience is out there.

5 DR. CROWLEY: Yes, it's not our
6 prediction. It's DOE's estimate which --

7 CHAIRMAN RYAN: DOE's estimate, but one
8 you've embraced.

9 DR. CROWLEY: That's correct.

10 CHAIRMAN RYAN: But I think the actual
11 experience is where the rubber meets the road and I'm
12 going to guess it's not anywhere near 2 rem per year.

13 DR. CROWLEY: We did look into the
14 possibility of getting data on actual exposures.
15 Those exposures are not reported to the Nuclear
16 Regulatory Commission. They are probably held by the
17 individual operators, but they weren't accessible to
18 the committee.

19 CHAIRMAN RYAN: And in fact, that can be
20 tough, but there is real data if one wanted to move
21 away from an estimate and into the real world.

22 DR. CROWLEY: Certainly.

23 MEMBER WEINER: I'd like to follow up on
24 that comment and that is did your committee have any
25 sense of how conservative the estimates at the ISR.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 In some cases, I know that there was an assumption
2 that there would be not shielding. In other words,
3 there were assumptions made which are contrary to
4 ordinary occupational practice. Did you comment at
5 all on that? Did you give that any credence?

6 DR. CROWLEY: When we went through all of
7 the analyses, not only the DOE FEIS but also the
8 Reexamination Study which also formed the basis for
9 the DOE FEIS, as the committee went through and
10 analyzed the various assumptions, there were comments
11 made in the report about the relative conservatism or
12 nonconservatism. What you find in the, for example,
13 the Reexamination Study and the DOE FEIS, there is a
14 mixture of fairly significant conservatisms with
15 realisms and it's not clear when you mix all of those
16 things together. It's certainly conservative, but
17 it's not clear how conservative it might be.

18 MEMBER WEINER: Bill.

19 MEMBER HINZE: Kevin, would you expand
20 just a bit about your bottom line messages to an
21 independent examination of transportation, security,
22 etc? What do you mean by independent? Free from the
23 governmental agencies?

24 DR. CROWLEY: Yes, in other words, this
25 should not be an examination that the governmental

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 agency does itself. It should be an examination done
2 by some organization independent of the government
3 that has control over who is appointed to do the
4 examination and also individuals who are free from
5 conflicts of interest. It doesn't mean that -- I mean
6 they could be experts, but they shouldn't be people
7 whose careers or financial outlooks will rise or fall
8 with the results of the study.

9 MEMBER HINZE: Was this recommendation
10 prompted by any concerns or was this a matter of
11 making the public perception very transparent, making
12 the situation very transparent?

13 DR. CROWLEY: The committee saw nothing
14 during the study that would have led it to believe
15 that there was a transportation security problem in
16 part because the committee just didn't get much
17 information. There's a little bit of information in
18 the open literature but not very much and some of it
19 has been pulled back since September 11th. So there's
20 a limited open source database from which the
21 committee could have made any analysis. However,
22 during the course of the committee's information
23 gathering meetings, the committee heard again and
24 again that this was a major public concern and one of
25 the parts of the committee's Statement of Task was to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 identify major technical and societal concerns and
2 address them. So the committee tried to address them,
3 wasn't able to and felt this is an important concern
4 and somebody should address it.

5 MEMBER HINZE: Thank you.

6 MEMBER WEINER: Jim.

7 MEMBER CLARKE: Just a quick question,
8 Kevin. You gave us the committee definition for large
9 quantities. Your slides have two terms, long duration
10 fires and very long duration fires. Did you have
11 similar definitions for those?

12 DR. CROWLEY: They both refer to fires
13 that exceed the regulatory 30 minute fires. The terms
14 that are used in the report to characterize both of
15 those are hours to days. Based on historical record,
16 there are fires from accidents, train accidents
17 mainly, that have burned for days. So that would be
18 the committee's definition of a very long duration
19 fire. Yes, the Howard Street Tunnel fire which is one
20 of the accidents that is being analyzed by the Nuclear
21 Regulatory Commission would probably fall under rubric
22 of a long duration fire. It burned for hours.

23 MEMBER CLARKE: Thank you.

24 MEMBER WEINER: Allen.

25 VICE CHAIR CROFF: Can you elaborate just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a little bit on what caused the committee to recommend
2 new organizational structures for the program?

3 DR. CROWLEY: You know how our committees
4 are, Allen. We had a lot of discussion over a lot of
5 meetings about that, but I think the bottom line was,
6 and remember this report was completed before the
7 recent schedule, the new schedule for Yucca Mountain
8 was announced which has put things back by many years,
9 the committee was operating under the assumption that
10 the Department of Energy was driving for a license
11 application first by the end of 2004 and then as soon
12 as possible thereafter and opening a repository in a
13 2011 and 2012 time frame looked at what the
14 transportation program had been able to accomplish or
15 not accomplish not because the staff were not up to
16 the task. In fact, quite the contrary, the committee
17 thought that a lot of the staff in the program with
18 which it dealt with were pretty top-notch, but they
19 just weren't being given the resources and the
20 management attention that they needed to get the job
21 done.

22 The committee felt that there might be a
23 conflict here of mission because the transportation
24 program was answering to management for the repository
25 development program. They were competing for the same

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pot of money and the same management attention and the
2 committee felt that really the DOE Secretary ought to
3 look at alterative structures that would take the
4 transportation program out from under the repository
5 development program and give at least equal billing
6 within DOE.

7 The other concern that weighed in the
8 committee's analysis was the fact that not only are we
9 talking about a transportation program for a
10 repository, but now we appear to be talking about a
11 transportation program for interim restorage and
12 possibly for even an integrated spent fuel recycling
13 facility. So the committee sensed that the
14 Government's need for a transportation capacity would
15 be growing in the future and that having a
16 transportation program that was again sitting under
17 the repository development program was not the kind of
18 transportation capacity that could service these other
19 potential future needs.

20 VICE CHAIR CROFF: Thanks.

21 MEMBER WEINER: I had just a couple of
22 additional questions. One is to follow up on Dr.
23 Clarke's question. Your definition of large quantity,
24 you would doubtless consider 100 shipments a large
25 quantity. Is that more or less correct? Or let's say

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 1,000 shipments. That's a big quantity.

2 DR. CROWLEY: The definition that the
3 committee used was based on mass shipped not on number
4 of shipments.

5 MEMBER WEINER: You can translate it to
6 number of shipments by saying so much mass per
7 shipment.

8 DR. CROWLEY: It depends on the mode that
9 you use.

10 MEMBER WEINER: All right. Let's say
11 trucks for assemblies per cask.

12 DR. CROWLEY: You're going to ship about
13 between 0.5 metric ton and 2 metric tons per shipment
14 depending on -

15 MEMBER WEINER: Right. Per shipment. So
16 what would you consider a large quantity shipment?

17 DR. CROWLEY: A large quantity shipping
18 program would be a program that ships on the order of
19 hundreds to thousands of metric tons. So you would be
20 looking if you said each truck carried on the order of
21 2 metric tons, then a program that involved 50 truck
22 shipments would be considered in the committee's view
23 to be a large quantity shipping program.

24 MEMBER WEINER: Is that independent of how
25 long the shipping campaign is? In other words, you're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 not considering that the shipping campaign could last
2 ten years, twenty years.

3 DR. CROWLEY: There is nothing in the
4 report that has the time scale, although most shipping
5 campaigns are for a more definitive period of time
6 unless they're a very large quantity shipping program
7 where you're shipping all of the time.

8 MEMBER WEINER: This gets exactly to my
9 point. We have had shipping campaigns that have taken
10 place inside of a year that have involved roughly,
11 let's say, ten shipments just using ten spent fuel
12 shipments and the truck estimates by DOE would be five
13 or six shipments a year. Did that play any part in
14 your designation of concern or your concern about
15 large quantity shipments? Clearly, ten shipments, ten
16 truck loads of spent fuel, ten highway truck loads of
17 spent fuel, is not a large quantity shipment.

18 DR. CROWLEY: Not in a particular year,
19 but if you had ten shipments year after year after
20 year, that would be a large quantity shipping program
21 at some point.

22 MEMBER WEINER: What would make the
23 difference? Why would that be a large quantity? What
24 assumptions are you making to make that large quantity
25 shipment program? That's what I'm kind of driving at.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. CROWLEY: I don't think I understand
2 the question.

3 MEMBER WEINER: All right. Are you
4 assuming --

5 DR. CROWLEY: Try again.

6 MEMBER WEINER: I'll try again.

7 DR. CROWLEY: Okay.

8 MEMBER WEINER: Are you assuming that
9 there is a cumulative effect of shipments year after
10 year that would make a shipment of a relatively small
11 quantity continuing year after year for say 20 years
12 because the Yucca Mountain shipments are, there is a
13 number at the end of there that would make that a
14 large quantity shipment to be of concern? Is it the
15 fact that you are inherently assuming some sort of
16 cumulative effect?

17 DR. CROWLEY: You are assuming a
18 cumulative effect because you're looking at an
19 ultimate quantity and in that is entangled the number
20 of shipments per year, the number of years that you're
21 shipping. I should say that this demarcation, it's
22 not a sharp demarcation and that's why the committee
23 used words like "on the order of" and what it was
24 really trying to get at was the occasional shipments
25 that one makes, for example, from one reactor site to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 another to even out-loads and spent fuel pools versus
2 a program where you're having a focused, continuous,
3 long term shipment of spent fuel from a lot of
4 different sites, for example, to Yucca Mountain or a
5 lot of different sites to an interim storage facility.
6 A lot of those sites would be made -- Sorry. A lot of
7 those shipments might be made along the same routes
8 year after year. You're putting a lot of fuel on the
9 road.

10 MEMBER WEINER: So there is an implication
11 that if a lot of shipments are made along the same
12 routes year after year that those shipments have a
13 cumulative effect.

14 DR. CROWLEY: I think that's correct.

15 CHAIRMAN RYAN: I'm sorry. I'm lost.
16 What is cumulative effect? Effect on what? By whom?

17 MEMBER WEINER: Effect on that people who
18 live by the side of the road.

19 CHAIRMAN RYAN: So the point is the doses
20 go up or if we're talking about collective dose, we're
21 going up the wrong tree.

22 DR. CROWLEY: This has nothing to do with
23 collective dose.

24 CHAIRMAN RYAN: Okay. I'm stuck with
25 cumulative effect and I'm not sure what you mean,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Ruth.

2 MEMBER WEINER: Yes. Well, I meant --
3 Thank you for the clarification. I was trying to work
4 around calling it collective dose, but clearly, the
5 concern is risks posed by these shipments, is it not?

6 CHAIRMAN RYAN: The risk to an individual
7 of a shipment going by is the same for each shipment
8 theoretically.

9 MEMBER WEINER: Exactly.

10 CHAIRMAN RYAN: But it doesn't add up
11 because it happens at different times.

12 MEMBER WEINER: That was exactly what I
13 was getting at.

14 CHAIRMAN RYAN: It's not cumulative.

15 DR. CROWLEY: I don't think this -- It's
16 not directly related to risk. It's the committee has
17 called for a number of actions to be taken by
18 organizations that are involved in the shipment of
19 large quantities of spent fuel. The committee has
20 actually made a fairly subjective judgment about steps
21 that should be taken by these large shippers versus
22 steps that would not be taken by the small shippers
23 and the committee was particularly concerned that
24 certain steps be taken by organizations like DOE and
25 Private Fuel Storage for example in the training of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 emergency responders for these shipments that involve
2 large numbers of shipments, large quantities of fuel,
3 that will go on for long periods of time.

4 MEMBER WEINER: Okay. Thank you. Did you
5 have something to add?

6 DR. KANNINEN: I was interpreting your --

7 MEMBER WEINER: Could you lean into the
8 microphone and tell us who you are?

9 DR. KANNINEN: Oh, who I am?

10 MEMBER WEINER: Yes, for the report.

11 DR. KANNINEN: Mel Kanninen just speaking
12 out of turn. I thought perhaps in an attempt to
13 clarify your question I was thinking you might have
14 meant cumulative effect on the containers and/or other
15 hardware of which there could be a concern if you are
16 reusing these over long periods of time and that is
17 something the committee did think about but did not
18 think it was a major issue.

19 MEMBER WEINER: Thank you. Do any of the
20 staff have a question at this point? Hearing --

21 MR. HAMDEN: (Inaudible.)

22 CHAIRMAN RYAN: The answer is no.

23 MEMBER WEINER: The answer is no. Thank
24 you. Dr. Kanninen, you're on next I believe.

25 DR. KANNINEN: I don't really have a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 presentation because basically Kevin took all the good
2 stuff for himself. So I'd be left with nothing but
3 detail. What I thought I would do is preserving the
4 maximum amount of time for questions that I was hoping
5 that you might have to just give you my own
6 perspective on how the committee approached the
7 question of package performance and standards and the
8 concerns that we had and underlying the
9 recommendations and conclusions that Kevin already
10 gave you.

11 From my own perspective, I was not a
12 member of the committee at its outset. I got a call
13 from Kevin Crowley after the first meeting saying that
14 the committee had decided that it needed an expert in
15 materials and structural behavior and I guess they
16 couldn't find one. So they asked me. It was supposed
17 to be a funny line.

18 DR. CROWLEY: That was a joke.

19 DR. KANNINEN: Anyway, they did find me
20 and I had not previously been associated with shipping
21 radioactive containers and shipping. I was of course
22 aware of it because a number of my colleagues had been
23 doing that kind of work, for example, at Pacific
24 Northwest and I interacted with them informally as to
25 what was going on way back as far as, I don't know, in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the 1970s when all this started. So I guess that
2 could be considered a good thing in a way because I
3 certainly had no biases to anything except a bias
4 towards good engineering.

5 I joined the committee for the first time
6 at its meeting in Las Vegas and we heard quite a lot
7 from the State of Nevada and their concerns in
8 particular with regard a perceived need that they had
9 for full scale package testing and other aspects and
10 of course we heard from others as time went on. I did
11 have some concerns initially in that if we're not
12 doing full scale testing here, how could we possibly
13 justify that these things are perfectly safe. As time
14 went on, we began to get a broader horizon.

15 I think the greatest aid to my
16 understanding was the week that I spent at a
17 conference. It was the biannual conference of the
18 PATRAM which is Package and --

19 MR. EASTON: And Transportation of
20 Radioactive Materials.

21 DR. KANNINEN: That's it. Earl was there.
22 So he would know the acronym.

23 MEMBER WEINER: Would you repeat it for
24 the recorder?

25 DR. KANNINEN: PATRAM is Package and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Transportation of Radioactive Materials. Thank you,
2 Earl. At that meeting, my eyes were opened, were
3 opened even wider than they had been in the sense that
4 we had people from all over the world involved in
5 this, Europeans, Japanese, Asian countries, the United
6 States of course, Canada and others and they were
7 doing what I consider to be good engineering in the
8 sense that you are doing experiments, small scale
9 experiments; you're doing computer simulation, very
10 sophisticated computer simulation.

11 And you're not doing these in isolation
12 from one another. You're doing them together in a
13 unified way, an integrated way and introducing full
14 scale testing, a very expensive thing. So you have to
15 be very cautious about not using them, but you're
16 using them in the proof of principle way and that is
17 the right way to do that. So I think as a result of
18 my week at that conference I came away with a very
19 strong opinion that the regulations are well founded,
20 the IAEA regulations I mean, the drop test, the
21 puncture test and not so much about the immersion
22 test and I'll leave the fire out of it for just a
23 minute because you appear to want to separate that.

24 But I had the impression and actually
25 having the opportunity to witness a drop test of a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 several ton article 30 meters and it's very impressive
2 when you stand about 100 feet away and you hear the
3 ground shake when it hits and hardly any damage
4 visible. So as a result, the accumulation of all this
5 kind of experience and of course, there are others on
6 the committee too, I don't claim all of the structural
7 mechanics and materials as well, there are others as
8 well, Clyde for example, but I think we all are pretty
9 much of the same mind that the regulations are well-
10 founded and well carried out and respected and they've
11 been in place for quite a long time and as the people
12 at that meeting were fond of saying "We haven't had
13 any accidents of any major sort or even minor sort
14 with these regulations in place." The conclusion that
15 we came to and Kevin reported to you is we're pleased
16 with those and we think they will do the job.

17 The fire, I suppose I should get into that
18 now, is a different story. The contrast there is you
19 look at the mechanical testing, drop test, puncture
20 test, you're looking at a combination as I said of
21 good engineering which is computer simulation,
22 modeling, large scale tests. You don't see that in
23 the fire arena. You see a lot of computer modeling.
24 You don't see the testing and the other thing. You
25 also see a lot of people doing calculations or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 simulations I should say for the same event and coming
2 up with quite different conclusions.

3 And the best example of that, of course,
4 is the Baltimore Howard Street Tunnel. The people at
5 the University of Nevada, not just to pick on anybody
6 particularly, is coming out with analyses of that
7 incident that said these things would probably fail.
8 Then the Nuclear Regulatory Commission looking at the
9 same set of circumstances comes out with a different
10 conclusion and these simulations were going on at that
11 time that we had to wrap up our report. So this is
12 the basis of us saying we think, I don't think we used
13 the words that there's a problem there, but we really
14 think that this, in my own words now, we don't think
15 that the fire part of the four part regulations is in
16 nearly as good a shape as the others and work ought to
17 continue there which is not to say that anybody isn't
18 doing a good job or they're not bringing their best
19 resources to it. I think they need to continue on and
20 I would add that they ought to look at the way that
21 they have developed the other regulations and try to
22 spread themselves out from merely looking at, this is
23 my own opinion again, in fact, I don't think that this
24 is in the report, that they ought to be looking at
25 that same kind of a triage of things looking at model

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 experiments, full scale experiments to the extent that
2 that's feasible, together with the computational
3 simulations that they have.

4 I hope that gives you a little bit of
5 background as to where I'm coming from and any
6 questions you have I'd be glad to take. Kevin might
7 want to add something.

8 DR. CROWLEY: Can I add something? Again,
9 with respect to the long duration fires, there's a
10 real contrast between the testing that has been done,
11 this is real world testing, basically demonstration
12 testing, and certification testing as well, the
13 certification testing is where you're actually doing
14 package drops and you're measuring the forces on the
15 packages and you're looking at the deformation, and
16 then the demonstration testing, for example, the
17 Sandia testing done in the '70s where they crashed
18 locomotives into casks and they ran trucks into walls
19 and that kind of thing and then the Central
20 Electricity Generating Board tests in the U.K. in the
21 '80s. It's pretty clear from all of those tests that
22 were done that the hypothetical accident conditions in
23 10 CFR 71 are more severe a test of package
24 performance than crashing a locomotive into a package
25 at 100 miles per hour and that's very clear from the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 testing that's been done. We have enough testing now
2 to know that.

3 That's not the case for thermal testing.
4 The thermal test is a half hour optically dense, fully
5 engulfing fire. It's not clear that that's a more
6 severe test of package performance than you might
7 encounter out in the real world and one of the reasons
8 we don't know that is because we just haven't done as
9 much work in that area. Certainly, full-scale
10 demonstration testing has not been done to the extent
11 that it has for mechanical testing and the simulation
12 testing that is being done now. That's one of the
13 things the Nuclear Regulatory Commission has been
14 working on quite diligently and is still working on.
15 But again, so far you just haven't seen the level of
16 work there that you've seen in the mechanical test
17 area.

18 CHAIRMAN RYAN: Kevin, could you or your
19 colleagues maybe sharpen the point on that a little
20 bit? You gave the criteria for the NRC criteria and
21 you haven't really said how that translates to what
22 happens or could happen in a fire. I mean is the
23 temperature too low. Is the engulfing aspect, the
24 time, too short? Do you have any sense of what other
25 criteria might look or sound like and again, I'm not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 trying to hold you to your rules as you see them now
2 but just to explore that a little bit. It's not good
3 enough or there hasn't been enough is okay, but why?

4 DR. KANNINEN: I think if we thought it
5 wasn't good enough we would have raised some very big
6 red flags. So obviously, we didn't come to that
7 conclusion.

8 CHAIRMAN RYAN: Okay.

9 DR. KANNINEN: And we're uncertain.

10 CHAIRMAN RYAN: I thought I heard Kevin
11 say there was concern.

12 DR. KANNINEN: Well, there is a concern
13 that that may be the case.

14 CHAIRMAN RYAN: Okay. Fair enough.

15 DR. KANNINEN: But we did not reach that
16 conclusion by any stretch of the imagination.

17 CHAIRMAN RYAN: Okay.

18 DR. KANNINEN: The temperatures in the
19 regulatory are what? Eight hundred Centigrade they
20 are.

21 DR. CROWLEY: Fourteen seventy-two.

22 DR. KANNINEN: I'm sorry. Fourteen
23 seventy-two, less than was calculated to where these
24 various accidents, at least the Baltimore Tunnel case
25 and the time duration is certainly much longer than

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the regulatory limit. So one would be a little --

2 CHAIRMAN RYAN: Then the next question is
3 if a fire went on at some temperature for a longer
4 period of time, would it really be an impacting thing
5 or not. I guess I'm trying to help design a test
6 while I was sitting here to see what the range might
7 be to go from what's in the regulation to what might
8 be more encompassing of the real potential experience.
9 Do we put our magnitude away or a factor of two away?

10 DR. KANNINEN: Well, that's difficult to
11 say. I mean you could obviously destroy a cask by
12 giving it enough temperature for a long enough time.

13 CHAIRMAN RYAN: Sure.

14 DR. KANNINEN: So you must make a judgment
15 based on what's really possible out there and you must
16 always be guided by that.

17 CHAIRMAN RYAN: And those are the
18 parameters I'm looking to understand a little bit
19 better on what is really possible. Is it 2,000
20 degrees C for five hours? Did you explore that at
21 all?

22 DR. KANNINEN: No, we did not and I don't
23 see how we could have either.

24 CHAIRMAN RYAN: No, I'm not saying you
25 should have. I'm just saying did you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. KANNINEN: No.

2 CHAIRMAN RYAN: Okay.

3 DR. CROWLEY: Let me add to that. I think
4 again we've broken this into two classes. We'll call
5 them the mechanical class and the thermal class. On
6 the mechanical side, it's a little easier to bound
7 things than it is on the thermal side and there have
8 been a number of studies done and particularly the
9 Central Electricity Generating Board Study where they
10 very carefully thought through what are the kinds of
11 mechanical accident scenarios that we might encounter
12 and they really subjected the package to a severe
13 test, probably more severe than they would actually
14 really expect to encounter and they still showed that
15 the mechanical forces put on that package were less
16 than the 30 foot free drop test.

17 On the thermal side, again it's much
18 harder to know what the upper bound of a fire is and
19 I don't know that so much that it's the temperature
20 because a hydrocarbon fire burns at the temperature a
21 hydrocarbon fire burns at. But in my mind, it's
22 really the duration and you have to think about the
23 situations in which a package might be subjected to a
24 long duration fire, very long duration fire, well in
25 excess of the 30 minute regulatory test under a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 circumstance where it would be very difficult to get
2 to that fire and put it out.

3 I mean an obvious place where that could
4 happen would be a tunnel, but there could be other
5 places where that could happen as well. For example,
6 you could have, this wasn't in the report, an
7 interaction between a train carrying a spent fuel
8 package and a train carrying hazardous materials in a
9 remote location where it would be very difficult to
10 mount an effective firefighting response. That
11 package, that fire, could burn for hours before you
12 could get out there and put it out.

13 So I think what the committee was calling
14 for in the recommendation was really for the
15 Commission to think through this process of what is a
16 credible upper bound for the kind of a long duration
17 fire that we might encounter and then to run the
18 simulation and see how would these various packages
19 behave in such a fire. And if there is an issue with
20 behavior, are there simple operational controls that
21 you could put into effect to avoid those kinds of fire
22 scenarios?

23 MEMBER WEINER: We have -- Could you
24 identify yourself for the reporter?

25 MR. RULAND: Yes. I'm Bill Ruland. I'm

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the Deputy Director in the Spent Fuel Project Office.
2 If it would please the Committee after the National
3 Academy has finished their presentation, we're
4 prepared to talk a little bit about these issues.
5 Actually, I'm not prepared to talk about them. Earl
6 is prepared to talk about them, but we came
7 anticipating these issues would come up. So again, if
8 it would please the Committee after this presentation,
9 we'd be happy to talk about some of these.

10 MEMBER WEINER: Certainly. Would you like
11 to be recognized immediately as part of the fire
12 discussion or do you want to wait for that?

13 MR. RULAND: It's strictly up to you.

14 CHAIRMAN RYAN: Ruth if I could, let me
15 make a suggestion. If you have a comment as we go
16 along, it's probably more appropriate that you make
17 that comment at the time because we are on a schedule
18 this afternoon. We don't have an unlimited amount of
19 time.

20 MR. RULAND: Okay.

21 CHAIRMAN RYAN: So putting in another
22 series of formal presentations or even informal ones,
23 really we ought to stick to our agenda and if you have
24 comments now or want to participate, raise your hand
25 and we'll be happy to have your comment as we go

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 along. That might actually help the audience as well.

2 MEMBER WEINER: I'd like to --

3 PARTICIPANT: (Inaudible.)

4 MR. RULAND: Yes.

5 MEMBER WEINER: Would you like to come up
6 to the table, Earl, and make a comment now? While
7 you're coming up, I have a question, two actually.
8 When you were at the demonstrations in Germany, Dr.
9 Kannenin, did you have a chance to observe the propane
10 tank explosion sitting next to a spent fuel cask or
11 did that take place at some other time? I have a film
12 of it. That's why I'm asking.

13 DR. KANNINEN: No. The --

14 (Discussion off microphone.)

15 DR. KANNINEN: You're talking about a real
16 demonstration.

17 MEMBER WEINER: Yes, it was a real
18 demonstration.

19 DR. KANNINEN: No, the Berlin thing was
20 done specifically for the PATRAM conference people
21 from all over the world, but they only did that one
22 test.

23 MEMBER WEINER: I see. No, I was asking
24 really if you were familiar with the propane tank
25 test, would you consider that in excess of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 regulatory fire or couldn't you make just from that
2 one test a judgment?

3 DR. CROWLEY: That's a very different
4 animal. In that test, the fire was very brief and
5 intense and it basically blew the cask away from the
6 source of the fire. So it wasn't a long duration,
7 fully engulfing fire.

8 MR. EASTON: It lasted seven seconds that
9 fire --

10 MEMBER WEINER: Thank you. Identify
11 yourself.

12 MR. EASTON: I'm Earl Easton. I'm with
13 the Spent Fuel Project Office staff and first let me
14 agree with Mel. I don't think the fire part of this,
15 the thermal, has been as visible over the years as the
16 structural part. But I do know there's been a lot of
17 work, there's been a lot of testing, done on this. It
18 just hasn't received the notoriety because I don't
19 think it was determined to be the sexy issue at that
20 time.

21 But let me just put this whole thing in
22 some sort of perspective. In the past 30 years if you
23 look at the FRA data, there's been around 21 billion
24 train miles and if you look at that time just the
25 hazmat reports where there's been reported release of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 hazmat, that's about 1300 incidents and that's a drop
2 to several tank loads. And if you go through and you
3 look over those 1300 reports which I have, you will
4 find that there may be five or six examples of where
5 you really get a long duration, fully engulfing fire
6 because it's not only the temperature. It's the
7 location because you know most of the heat transfer is
8 through radiation and if you're some distance, the
9 view factor falls off and if you're down in the fire,
10 the view factor falls off.

11 Again, the fire test is one-half hour,
12 fully engulfing, 1475. But the important part people
13 don't state is at the end of that test virtually
14 nothing happens. So when we run out the analysis, we
15 are able to run out the analysis six or seven or eight
16 hours fully engulfing fires and you don't get any what
17 we think are in the danger zone.

18 CHAIRMAN RYAN: Let me just translate that
19 if I may, Earl. You do a 30 minute test and you
20 extrapolate that by calculation for eight hours.

21 MR. EASTON: Yes, we do a fully engulfing
22 extrapolation or computer simulation out to eight
23 hours. The seals fail, but the seals are not the
24 important things in accidents.

25 CHAIRMAN RYAN: I just want to understand

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 because you're using a lot of jargon and I'm just
2 trying to translate it so I understand it.

3 MR. EASTON: Okay. Sorry.

4 CHAIRMAN RYAN: We have a lot of data on
5 the half hour tests.

6 MR. EASTON: Right.

7 CHAIRMAN RYAN: You've somehow created a
8 computer model that will allow you to take that
9 reference first half hour and then model it out to
10 seven or eight hours.

11 MR. EASTON: Right. We use the same
12 assumption for the 30 minute test and we continue
13 running that computer simulation out of seven or eight
14 hours.

15 CHAIRMAN RYAN: So you're just making the
16 assumption that everything stays the same for eight
17 hours.

18 MR. EASTON: Right. And then --

19 CHAIRMAN RYAN: Let me just ask a couple
20 questions if I might. Does that continue to heat up
21 the inside of the contents?

22 MR. EASTON: Yes, it does.

23 CHAIRMAN RYAN: All that stuff. So all
24 that real physics is included.

25 MR. EASTON: Yes, it does.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: Okay. I just want to
2 understand that.

3 MR. EASTON: And then again when you look
4 at it, there are several barriers to release. One is
5 the seal, but that's primarily for normal conditions.
6 I can explain that later if you want.

7 CHAIRMAN RYAN: Well, let me -- I don't
8 want to get too far into the details because frankly
9 this is for them to give their report. But it sounds
10 like you're implying, tell me if I'm incorrect in
11 assuming this, that the NRC test is okay as it is.

12 MR. EASTON: I think it's so and
13 especially if you look at it in terms of risk
14 informed. There are maybe five accidents that you
15 might put in this category out of 21 billion rail
16 miles.

17 CHAIRMAN RYAN: I hear you that the risks
18 seem to be low or are low based on the statistics
19 you've quoted, but what does that have to do with the
20 test?

21 MR. EASTON: Well, if you look at each one
22 of those five accidents and where the cask would have
23 to be placed to get a fully engulfing fire, you find
24 it's almost impossible. So really the fully engulfing
25 test simulates how much heat goes in per time. You

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 very seldom get long duration and fully engulfing.

2 CHAIRMAN RYAN: But there's two questions
3 there. If we had a fully engulfing and let's leave
4 the probability of that alone for a minute, that's one
5 question. The probability of that ever happening is
6 a separate question. You're giving the information
7 about the probability of it happening which is below
8 the radar screen is what you're advising us to
9 observe.

10 MR. EASTON: Right.

11 CHAIRMAN RYAN: Given that it is something
12 people want to consider then we're back to what does
13 that profile look like.

14 MR. EASTON: If it is something you want
15 to consider, the test after a half hour of a fully
16 engulfing fire --

17 CHAIRMAN RYAN: I'm not saying I do. I'm
18 saying if it's something somebody wants to consider
19 irrespective of the probability.

20 MR. EASTON: The test after a half hour,
21 fully engulfing fire, the acceptance criteria is
22 basically nothing happens to that cask.

23 CHAIRMAN RYAN: I know. I agreed to that.

24 MR. EASTON: A release. So if you carry
25 out the analysis, you will find you really have six or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 seven hours before you get the fuel cladding heated up
2 until you start worrying about the fuel cladding. You
3 never really lose the lid to body contact with --

4 CHAIRMAN RYAN: Yes, you've reported that
5 to us before. We don't need to cover all that.

6 MR. EASTON: Sorry.

7 CHAIRMAN RYAN: You talked about the seals
8 going away and the metal -- and all that. We're up on
9 that.

10 MR. EASTON: Okay. So we think that the
11 test is pretty good. It's well understood and it
12 really bounds all the accidents that we have really
13 seen. And one further comment, if you go to dedicated
14 trains and you go to a no pass rule in tunnel, this
15 would probably have eliminated every historical
16 accident in the last 30 years that you could have
17 gotten a fully engulfing, long duration fire.

18 CHAIRMAN RYAN: Are you going to somehow
19 memorialize that analysis in a report?

20 MR. EASTON: Yes, as soon as we put all
21 the data --

22 CHAIRMAN RYAN: I know it's a lot of work,
23 but it would be real helpful if that analysis was
24 formalized and shared with everybody that had interest
25 because that is in fact the real data.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. EASTON: As part of taking these guys
2 very serious like we do --

3 CHAIRMAN RYAN: Thanks for your patience,
4 Ruth. I'm done.

5 MR. EASTON: That's one of the ways we're
6 going to respond to their call for --

7 DR. CROWLEY: Let me say. I think we've
8 had a lot of interactions with Earl and Bill Brock
9 during the study and I think they got the sense early
10 on that this was an issue that the committee was
11 concerned about and to their credit, they've done a
12 lot of additional work to try to put this issue to
13 rest. So I think they should be patted on the back
14 for that.

15 CHAIRMAN RYAN: I agree. That's great.

16 MR. RULAND: Yes, I just wanted to say we
17 appreciate the committee's comments in this particular
18 area. We're already working as Earl has already said.
19 We're not waiting. We're already looking at the
20 research and the data. We're already taking action to
21 try to incorporate operational controls which was a
22 big part of one of the committee's recommendations.
23 So again, we wanted to say thank to the committee and
24 thank you for this Committee for listening to this
25 important issue.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WEINER: Thank you.

2 MR. EASTON: In fact, just Kevin put a bug
3 in my ear, but when you go back and look at all the
4 historical rail accidents and especially these five,
5 they all involve the derailment of a single train. If
6 you use dedicated trains, that largely goes away.
7 FRA, we're in discussions with them. They're under a
8 mandate whether to require dedicated trains based on
9 risk.

10 The other thing is the other accident that
11 doesn't go away is the tunnel fire which we're
12 studying and we have already approached the
13 Association of American Railroads about the
14 possibility of changing circular OT-55 which would
15 prohibit the practice of trains passing in tunnels
16 carrying flammable liquids and that which we feel
17 would have virtually eliminated the Baltimore Tunnel
18 fire; although a dedicated train rule would eliminated
19 the Baltimore Tunnel. So we're moving out very
20 rapidly to try to get a better understanding of this
21 whole thermal issue and when we come back in the
22 summer and talk about the Baltimore Tunnel fire, maybe
23 we'll have some of this memorialized for you.

24 CHAIRMAN RYAN: Before talking.

25 MR. EASTON: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WEINER: Thank you.

2 CHAIRMAN RYAN: Thank you, Earl.

3 MEMBER WEINER: Jim, do you have any
4 further questions? Bill?

5 MEMBER HINZE: I'm a little bit confused
6 by Mel's comments and I'm referring to the committee
7 strongly endorses full scale testing for -- performed
8 under both regulatory and credible extra regulatory
9 conditions. I heard you say that this type of testing
10 was only really needed for the thermal area. Is that
11 correct?

12 DR. KANNINEN: No, no. I said it is well
13 practiced in the mechanical testing area, in other
14 words, using that as a mirror for the people who are
15 too worried about the fire to consider.

16 MEMBER HINZE: So the mechanical has been
17 taken care of.

18 DR. KANNINEN: Yes, very much so.

19 MEMBER HINZE: But it doesn't say that in
20 this recommendation that the emphasis should be on the
21 thermal area.

22 DR. KANNINEN: You are referring to the
23 statement.

24 MEMBER HINZE: I'm referring to slide
25 nine.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. CROWLEY: I think you're really
2 looking at two different issues there.

3 MEMBER HINZE: So help me then.

4 DR. CROWLEY: The committee, one of the
5 issues that came up during the study and again this
6 was raised by several people at the committee's open
7 meeting was the whole issue of testing and whether
8 testing should be required for every package and
9 whether in fact you might want to production test
10 certain packages and whether or not you might want to
11 test packages to destruction. I think what the
12 committee was trying to say there was current practice
13 is really good. It's an integrated process right now.
14 This is how it should continue to be done.

15 MEMBER HINZE: Okay.

16 CHAIRMAN RYAN: Is this what it actually
17 says in the text or is there explanatory material
18 other than this bullet?

19 DR. CROWLEY: Of course, there is
20 explanatory.

21 CHAIRMAN RYAN: I think maybe we're
22 picking on a bullet and maybe the text explains what
23 you just said. Is that right?

24 DR. KANNINEN: But if I could just add to
25 what Kevin said, there was at the very beginning

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 people who were not enamored of the whole idea of
2 transporting radioactive waste who would insist on
3 full scale testing as Kevin already said and what they
4 meant by that was testing to destruction whereas full
5 scale testing in the sense of the regulatory thing is
6 what we endorse and we do not endorse testing to
7 destruction. So this bullet is sort of aimed at that
8 particular point of view.

9 CHAIRMAN RYAN: Thank you very much.

10 MEMBER WEINER: That's a very good
11 clarification. Thank you. Allen.

12 VICE CHAIR CROFF: I'm not sure I
13 understand this and it's the full scale part. Why did
14 the committee recommend full scale as opposed to
15 current practice which is mostly fractional scale,
16 calculations and this kind of thing?

17 DR. KANNINEN: No, the current procedure
18 is to use full scale but to use it sparingly in a
19 company with computation simulation and scale
20 modeling. So you're working them all together. So
21 you're using it in that way. You certainly are doing
22 full scale testing.

23 CHAIRMAN RYAN: I'd have to go back and
24 read our letter, Allen, but I think the committee is
25 in agreement with what you just said, limited full

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 scale testing for certain performance questions.

2 VICE CHAIR CROFF: Yes.

3 CHAIRMAN RYAN: Calculational approaches
4 which we agree that we saw some pretty sophisticated
5 modeling tools in our Commission gathering and then
6 the testing to destruction for the sake of destroying
7 something, we said didn't make any sense.

8 DR. KANNINEN: That's correct and that's
9 exactly what that bullet is aiming at.

10 MEMBER HINZE: A lot is lost in the
11 brevity.

12 CHAIRMAN RYAN: And fair enough because
13 you can't put it all in three lines of bullet.

14 VICE CHAIR CROFF: You mean you haven't
15 already reported that.

16 (Discussion off microphone.)

17 MEMBER WEINER: Just to interject, it is
18 the full recommendation which is considerably longer
19 than what you summarized on your slide that is quite
20 clear that it endorses the use of full scale testing
21 to determine how packages will perform under both
22 regulatory and credible extra regulatory conditions
23 and I think that explains that you wish to continue to
24 determine how packages continue to perform under these
25 conditions that you have identified.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. KANNINEN: Correct.

2 MEMBER CLARKE: Excuse me, Ruth. The
3 first part of Bill's questions addressed on Slide 8
4 with a recommendation is made that the NRC to
5 undertake additional analyses for long duration fire
6 scenarios. It did have a column of -- Are there any
7 specifics associated with that recommendation or is
8 the recommendation to go back and look at different
9 scenarios and go from there?

10 DR. KANNINEN: Well, our report was
11 wrapped up prior to much of what the NRC is doing as
12 you just heard Earl talk about. So they have really
13 done that themselves and that of course is the best
14 possible outcome for us to suggest and for them to
15 act. So we're very pleased by this.

16 DR. CROWLEY: The committee did make a
17 couple of comments and suggested that perhaps the
18 historical record would be a good place to start if
19 you were looking for credible, long term duration
20 fires and two examples were mentioned. There was a
21 Livingston, Louisiana fire, I think it was 1972, but
22 I could be mistaken about the date, that burned for
23 three days. Now they let that burn. Presumably they
24 could have put it out if they wanted to.

25 MEMBER CLARKE: Was it a train derailment?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. CROWLEY: It was a train derailment.
2 It was carrying plastics or plastic products I think.
3 And then there was the Summit Tunnel fire in the U.K.
4 which burned I think for about four days. In fact,
5 based on the Summit Tunnel fire, the U.K. Department
6 of Transport put a rule or a regulation in place that
7 prohibited trains carrying flammable materials and
8 trains carrying spent fuel from being in the same
9 tunnel together.

10 MEMBER WEINER: Bill, any further
11 questions? Allen?

12 VICE CHAIR CROFF: I wanted to be explicit
13 on one point. We've been talking about the long
14 duration fires, but something that I think was said
15 was you're not recommending consideration of higher
16 temperature fires, higher than the 1475.

17 DR. KANNINEN: I don't think -- We didn't
18 make any recommendation with regard to specific
19 targets either in temperature or time. We think that
20 would have exceeded our capabilities.

21 VICE CHAIR CROFF: I'm asking sort of --
22 You've said in general take a look at long duration,
23 but what about higher temperatures?

24 DR. CROWLEY: There's nothing.

25 DR. KANNINEN: We did not exclude going to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 higher temperatures.

2 VICE CHAIR CROFF: So the report is silent
3 on that.

4 DR. CROWLEY: Yes.

5 DR. KANNINEN: Well, no, not entirely
6 because as Kevin just said a moment ago, we
7 recommended that we look at the accidents that have
8 already happened and be guided by that. So if these
9 accident suggest higher temperatures, then certainly
10 you want to use higher temperatures.

11 VICE CHAIR CROFF: Okay.

12 CHAIRMAN RYAN: Or at least think about
13 why or why not.

14 MEMBER WEINER: I'm going to ask. Do we
15 have Clyde Young on the telephone.

16 PARTICIPANT: We weren't able to get him.

17 MEMBER WEINER: Oh well. Thank you. That
18 is too bad. Mike, did you have further questions?

19 CHAIRMAN RYAN: No. Thank you, Ruth.

20 MEMBER WEINER: Okay. Moving right along,
21 Dr. Morris, you're going to talk about emergency
22 response, emergency preparedness.

23 DR. MORRIS: Actually, I was not.

24 MEMBER WEINER: Well, it's what it said on
25 my little cheat sheet here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. MORRIS: I'm sorry. No, I did not
2 come prepared to talk on that.

3 MEMBER WEINER: That's all right.

4 DR. MORRIS: In fact, Kevin has covered
5 all the parts of the report that I might have
6 commented on and so I think I'll just leave it there
7 and respond to any questions within my knowledge that
8 you might have as we go on. We do have one other
9 committee member on the phone and he know he's
10 prepared to comment on some things that Kevin perhaps
11 didn't touch on.

12 MEMBER WEINER: Yes.

13 DR. CROWLEY: Joe was really involved in
14 preparation of the route selection chapter, Chapter 4.
15 So if you have questions about that, you should direct
16 those to Joe.

17 MEMBER WEINER: Is there any -- Well,
18 let's leave that for the end as long as you're here.
19 Hank Jenkins-Smith who is on the telephone. Hank, are
20 you still there? Hello?

21 MR. JENKINS-SMITH: I'm sorry, Ruth. I
22 lost you for a second.

23 MEMBER WEINER: I'm sorry. Well, you've
24 sent some slides I understand.

25 MR. JENKINS-SMITH: I did.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WEINER: And you're on, Hank, to
2 talk about social risks, emergency preparedness and
3 any other topic that you would like to address.

4 MR. JENKINS-SMITH: Sure. I should start
5 with the social risk of talking to an audience you
6 can't see.

7 CHAIRMAN RYAN: Hank, just to make life
8 easier, if you just tell us "next slide please" we
9 have TV sets around the meeting room here where
10 everybody can see your slides and everybody at the
11 table has a copy of your slides. So next slide please
12 will keep us up-to-date with you.

13 MR. JENKINS-SMITH: Very good.

14 CHAIRMAN RYAN: Welcome. Thank you for
15 being with us.

16 MEMBER WEINER: And welcome and this is
17 not an all-together unknown thing for us. So we're
18 aware of the risks.

19 MR. JENKINS-SMITH: Let me apologize for
20 not being able to be there in person. Teaching
21 schedules and so forth precluded that, but I do
22 welcome the opportunity to talk to this group. I
23 should note by way of beginning that someone gave me
24 a remarkably optimistic title here outlined as "Social
25 and Institutional Challenges and Solutions" and, boy,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I wish I had them. But I would rather title it
2 "Social Risks, Challenges and Recommended Solutions."

3 And what I will do is briefly make some
4 remarks on variations in risk perspectives that
5 underlie some of the problems we have in discussions
6 about technological risks. I will then address some
7 of the implications of those varying perspectives and
8 try to put all of that into the context where the
9 rubber meets the road where agencies are attempting to
10 carry out policies that have the characteristics that
11 lead to the sorts of social risks we're addressing.
12 And then I'll very briefly make some connections to
13 the report recommendations because I think you need to
14 see the pathway about what we did. Next slide please.

15 Dealing with social perspectives on risks
16 is interesting and somewhat difficult. Now we're used
17 to typical formulation which is usually short-handed
18 as probability times consequence. When we're thinking
19 about a potential hazard, we look across some suite of
20 scenarios, identify the probability of outcomes and
21 their consequences and we can essentially identify
22 risk that way.

23 The problem with that is that many folks
24 don't understand risk that way. A near cousin is
25 prospect theory and in prospect theory, the value

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that's put on a loss or a gain is hinged on the status
2 quo. So if you think that a technological risk is
3 going to take away something that you have you'll
4 value it quite differently than you would the gain of
5 an equivalent quantity of good things.

6 What we are typically dealing with is a
7 prospect theory-like setting in which losses loom
8 larger than potential gains. So thinking about it in
9 probability times consequence terms is a little tough
10 and you know we have a huge debate now over the
11 precautionary principle and the way that we should be
12 addressing risk and it spans continents and
13 governments and policy issue areas and what we're
14 dealing with falls in a chunk of these formulations of
15 risk.

16 The problem for us when we try to address
17 risk in a social setting is that the nature of risk
18 itself varies. There are quite different dimensions
19 on which people understand the phenomenon of risk.
20 You'll probably all have seen on occasion discussion
21 about the psychometric dimensions of risk, the notions
22 of dread, uncertainty, whether the risk is voluntary
23 and from the perspective of the receiver of a risk,
24 it's often the case that these characteristics lead to
25 massive differentiation in the way the risk is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 understood and acceptable or opposed.

2 More generally, when you look across the
3 landscape of potential hazards, people end up having
4 to identify which kinds of events are the most
5 fearful, and we trade them off against one another,
6 I mean, the hazards of guns or gun control. And these
7 kinds of problems permeate the societies and the kinds
8 of dialogues they have about risk, and we're in the
9 middle of that kind of a dialogue with respect to
10 nuclear risks with shifting tides over decades about
11 disks of things nuclear are understood.

12 Even more tricky is the way that risks get
13 considered when we're making collective decisions in
14 regulations, and legislation, and as it spills over
15 into elections. And just as an example of some of the
16 things that happened here, risks are often ill-suited
17 in the sense that they don't match easily the kinds of
18 choices that we make in the elections or in policy
19 decisions, and they become, essentially fugitive
20 problems. They are problems that can't really be cast
21 as the choices that we normally make, or in terms of
22 the institutions that we use, so problems that are
23 seen more generally are recast in terms of risks and
24 threats.

25 A specific example is what I've termed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ideological displacement here; and that is, that when
2 broader political values are at stake, and these can
3 be quite broad-ranging, they are often recast in terms
4 of risk, so this social perspective problem leads to
5 quite a cacophony when we start talking about risk.
6 And the difficulty is particularly acute when you are
7 part of a community of researchers or in an agency
8 where there are very specific tight definitions about
9 what risk means, and then you come into contact with
10 somebody who's talking about it very differently, or
11 understanding it very differently, and it leads to
12 substantial confusion, often the perception that
13 somebody else is being misleading, and it breaks down
14 prospects for communication. Next slide, please.

15 The implications of these different kinds
16 of perceptions of risk are large, and I will focus on
17 what are generally termed perception-based impacts,
18 and just go down a quick list here. The most
19 immediate kind of implication that you can see from
20 perceived risk at the individual level is increased
21 stress and anxiety and kind of health complications
22 that can result from that, or generally there's a loss
23 of a sense of well-being of a sense that one is
24 secure, and that these types of things can
25 substantially reduce the overall quality of life of an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 individual.

2 Broadly, in a social context, the
3 imposition of disks, even if they are technologically
4 well understood and the traditional measures of risks
5 are quite small, a sense that these risks are being
6 imposed can lead to a loss of trust, or even a
7 breakdown of the usual social patterns within
8 institutions in the extreme. These kinds of impacts
9 can have huge implications for society.

10 On a more familiar ground here, we've
11 talked a lot about in the committee about stigma and
12 economic impacts that results from stigmatization of
13 a place because of its contact with a known hazard
14 like radioactive materials, place based losses
15 includes such things as reductions in tourism, loss of
16 agricultural value, shifting of economic activity like
17 conventions. Much of this type of research has been
18 focused on the potential implications for Adda and
19 Clark County, in particular.

20 In addition, however, place based stigma
21 losses can result in reduced property values, some of
22 which has been measurable in cases of radioactive
23 waste transport programs. These kinds of research,
24 however, really haven't been able to nail down
25 precisely what these processes are. There's a great

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 deal of uncertainty, there's a big difference between
2 what one would expect in normal operations versus
3 accident situations, and we don't have a great deal of
4 experience with severe accidents involving radioactive
5 material handling in the United States, which is a
6 good thing, in general, but it means that the kinds of
7 empirical evidence we have are limited.

8 Probably the most severe problem you get
9 is when you compound historical patterns of exposure
10 or reduced ability to handle these kinds of risks with
11 ostensive social injustice. These lead to what risk
12 communications folks refer to as outrage, which is a
13 complete breakdown of ability to communicate, and a
14 sense of zero sum, or negative sum gains in which one
15 side views what the other is doing as incredibly
16 harmful to their well-being. Next slide, please.

17 In a bit of context, when you think about
18 the social perspectives on risk, these may just be
19 conditions that one has to live with, but when I think
20 of these things, and as much as the discussion in the
21 committee went, you have to place them in the context
22 of the people who are actually having to carry out
23 programs or an agency perspective, and it might be DOE
24 or NRC, but somebody has been charged with
25 programmatic responsibilities.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The difficulty for those who are charged
2 with radioactive materials management is that they
3 have multiple principals, or I guess a shorthand might
4 be bosses to whom they have to respond. They have to
5 respond to various committees, a White House, various
6 constituencies. Amongst those constituencies would be
7 the locally affected communities who tend to be the
8 place that the social risks loom largest. But an
9 agency doesn't have the capacity to take one
10 perspective and run with it. They're in a web of
11 perspectives there. They also operate within budgets
12 and deadlines, and the pulling and hauling of an
13 overtime political process. And I certainly don't
14 need to explain that to you, you live there.

15 It's also the case that in that agency
16 context, the people that they contend with, especially
17 those who have alternative perspectives on the
18 programs, maybe even directly opposing what the
19 program is doing, they're working with people with
20 very different capacities to operate. And it often
21 appears, though it may not be the case, that the other
22 players have greater degrees of freedom than the
23 agency does. They certainly do with respect to the
24 kinds of things they can say, and the forms of
25 expression, and action that can take place in a policy

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 process. But what that does, is it creates a context
2 in which social risk is discussed where the key
3 players, the agencies charged with carrying out these
4 policies, perceive themselves to be caught between the
5 proverbial rock and a hard place. And this results
6 far too often in a kind of a bunker mentality for
7 those who are charged with carrying out these
8 policies, a perception of the public as hostile or
9 stupid, particularly interest groups that are engaged
10 there. And perhaps the most damaging effect is that
11 this kind of a context where highly controversial,
12 complicated issues expressed in competing languages,
13 where agencies have limited room to maneuver
14 undermines the capacity for policy learning, and that
15 is a substantial concern to those of us who are on the
16 committee thinking about these problems. Next slide,
17 please.

18 I want to emphasize that the leading
19 concerns we had in trying to devise recommendations
20 were to address this inability, or to address the
21 capacity for learning that really is the life's blood
22 of making forward progress on policies like this. And
23 the main pattern for doing this is to have a greater
24 flow of ideas, even learning language between those
25 charged with carrying out the programs and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 individuals who they're working with, around them,
2 those who they are charged to protect and so forth.
3 And if one can increase the breadth of the perspective
4 and capability in the advisory groups, one can go a
5 long ways toward doing this. It decreases the
6 probability of a costly social misstep, the sort of
7 problem that we see too often in programs that take
8 decades to overcome. It increases avenues for
9 informal representation. The greater the breadth of
10 the types of people that are included in these
11 advisory groups, the greater the capacity for informal
12 processes of communication for breaking down of
13 mistrust, essentially creating pathways by which
14 people believe they've been heard, and their concerns
15 accounted for. It opens up avenues for two-way
16 learning between agencies and the social risk
17 practitioners, and some of the broader sort of ripple
18 communities that those risk practitioners operate
19 within.

20 I don't want to argue that this is a
21 panacea. I guess I'd call it more akin to a necessary
22 than a sufficient condition for success, but it's one
23 that I think is urgent, particularly given the
24 propensity for perceptions to rigidify and create
25 these types of defensive postures that so crowd the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 aim of risk management. Next slide, please.

2 More specifically, we had two
3 recommendations along these lines in the report. The
4 first was to expand the technical external
5 coordination working group. Now this group which I've
6 had the good fortune to speak to on a number of
7 different occasions currently is made up of
8 technically trained individuals, people who are
9 involved in various kinds of official capacities, and
10 what we're recommending is that it be expanded to
11 include people who more specifically and broadly deal
12 with risk communication, understanding risk from
13 various perspectives in order to open up the potential
14 for greater two-way communication.

15 I should say that a great deal of this
16 happened already. What we want to do is reinforce it
17 and stabilize it to make sure that it's a continuing
18 feature of the program. The second point was to
19 retain and modify the nuclear waste technical review
20 board. It's already an existing institution. It's
21 functioned as an independent and generally respected
22 voice in looking at technical issues. We'd like to
23 see it expanded to handle the social implications of
24 the nuclear waste transportation problem.

25 Now this would be a group that would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 chiefly be speaking to those who are implementing or
2 regulating the process, essentially translating social
3 science and practitioner knowledge as we have it for
4 those who need to use it. And in some sense, this
5 group needs to be one that could have access to
6 relevant classified materials so that they would be
7 able to speak to those issues, so in some sense, think
8 of these two recommends, one as more porous and open,
9 and broadly two-way in the kind of communication that
10 it's bringing from external communities through the
11 TEC into agencies, and scanning for potential
12 missteps, and creating greater trust, and reducing the
13 barriers to learning.

14 The second one is more to have the sorts
15 of people who can take the body of knowledge that's
16 developed in research and practice and provide it to
17 those who are having to make these decisions, but
18 doing so in a setting where they are able to attend to
19 the full suite of problems, including those having to
20 do with security.

21 That's the gist of what I have to say. I,
22 again, apologize for not being there to do it in
23 person. I'm happy to take any questions you might
24 have.

25 MEMBER WEINER: Start with the committee.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Jim, Bill, Mike? Allen, do you have --

2 VICE CHAIRMAN CROFF: No, it's all your's.

3 MEMBER WEINER: All right. Then I guess
4 it is.

5 I have some, Hank, as you might expect. First of all,
6 to what extent have you, or has anyone that you work
7 with actually studied committees that combine or that
8 have a breadth of membership? And in order that this
9 not appear to be a leading question, I'll tell you
10 what the background of the question is.

11 I've served on a number of such
12 committees, as I believe we all have. And I do not
13 observe that it increases either the appropriate, what
14 we could consider an appropriate perception of
15 estimated risk or an appropriate perception of
16 perceived risk. I don't think the communication, to
17 put it bluntly, it's been my observation, which is in
18 no way statistical, that all too often, the wanted
19 communication does not happen. And I'd like to know
20 if you have studied such committees, if you have any
21 examples of where it does happen?

22 MR. JENKINS-SMITH: Yes. There's been
23 quite a bit of work on trying to understand small
24 group development of perspective. There's a
25 particularly good scholar at the University of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Washington named John Gastil, who's written quite a
2 few books on the way that these kinds of conversations
3 can lead to more general understanding.

4 Now I would also say that if you structure
5 the incentives in ways that sort of misalign the
6 interest of the group, you get serious problems. And
7 it's not easy, it's certainly not guaranteed that
8 you're going to break these things down. But I guess
9 I would use the experience of this NRC committee, the
10 one that wrote the report on transportation of spent
11 fuel, and when we began this communication, there were
12 a lot of tensions. We brought people together who
13 hadn't worked together before, and who were in very
14 disparate kinds of communities. And as the
15 communication progressed, there had to be a lot of
16 trust-building, the belief that people were being
17 heard. It takes work, and I would suggest that in the
18 creation of these committees, one has to attend to the
19 potential problems here, that there needs to be
20 committee chairs or managers of this process that are
21 watching for those kinds of problems and addressing
22 them.

23 It also means there's got to be some
24 selection on the process of who you put in. I mean,
25 if you put in people whose job or whose perspective is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to represent one point of view, and not to listen, and
2 to essentially be gadfly or a naysayer with respect to
3 a policy, then it's very difficult to work with them,
4 so there's both a selection process and a management
5 process associated with it. And no, the committee
6 doesn't imagine that it would be a panacea, as I said.
7 But I think it's a necessary condition, and it's one
8 that's worth working at to make it go.

9 MEMBER WEINER: I guess my other question
10 is a more philosophical one. In the natural sciences,
11 you can do experiments, and you can repeat them. And
12 if I burn the same, just to take a fire example, if I
13 burn the same quantity of octane under the same
14 conditions, I'm going to get the same temperature, and
15 the fire is going to last the same length of time.
16 Experiments are repeatable, and it's on that basis
17 that the natural sciences do projections. They say
18 well, this has happened every way, this way every
19 single time we've done it, and we've done it
20 independently and so on. That does not happen in the
21 social sciences.

22 It's very difficult to predict on the
23 basis of behavior, not only look at what happened with
24 the waste isolation follow-up project. Everyone
25 would have thought that the transportation of waste to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the WIP was going to end civilization as we know it,
2 until the WIP actually opened, and now no one pays
3 very much attention to those trucks at all. In fact,
4 you've met with them in some very heavy traffic
5 routes, and you get more members of the media than you
6 do protestors. You get one or two protestors and a
7 dozen TV stations. How do you reconcile that? How do
8 you use perceived risk, social risk, if you will, to
9 make predictions that you can have any kind of
10 confidence in?

11 MR. JENKINS-SMITH: You've said quite a
12 bundle of things there. One was the distinction
13 between the social sciences and what you're calling
14 the natural sciences. I suppose humans are unnatural,
15 but --

16 MEMBER WEINER: Well, no, works in
17 biology.

18 MR. JENKINS-SMITH: In general, any
19 science has to struggle with the magnitude of the
20 events and concepts that it intends to explain. And
21 the wonderful thing about much of the natural science
22 is the events, and the particles, and the interactions
23 are nicely bounded, and easily defined. In the social
24 sciences, the closest we get to that, typically, is in
25 economics, where the event is a transaction or a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 trade, and under those circumstances, there's a very
2 well verified empirical body of literature that is
3 able to make good sense of human behavior.

4 Psychology comes reasonably close, and
5 psychologists do use experiments in which they are
6 able to control many of the relevant variables, but
7 the limitation that we chiefly come across in addition
8 to the complex kinds of phenomenon we're attempting to
9 deal with is we can't do natural experiments with much
10 of this. We have to use statistical controls rather
11 than experimental controls, and often we can't control
12 for all of the relevant variables, so it does leave us
13 with greater uncertainty.

14 Within risk perception, however, there are
15 some aspects that are pretty well understood, that
16 have been measured over quite a range of different
17 circumstances. And in general terms, the kinds of
18 phenomenon extend well beyond the nuclear risk to
19 other kinds of hazards, and one can draw on a body of
20 knowledge that's developed with respect to those. I
21 guess I would challenge you a little bit on your
22 perception of what is known and can be known, and
23 understanding human behavior generally, and risk more
24 specifically.

25 With respect to your other point about the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 WIP case, now you have to disentangle propositions
2 that are made for political purposes from those that
3 are made for social science purposes. And I started
4 out talking about the way that risk works in context,
5 and if you understand risk in terms of what is the
6 expected loss, versus what is the expected gain, or in
7 terms of prospected area, I think the case of WIP
8 makes good sense.

9 Before the shipment actually began, people
10 were facing a prospective loss, however small they
11 might have feared it to be, or however much
12 uncertainty they took into the calculation. Once the
13 trucks were actually moving, the status quo had
14 changed, and the way the people understood the risk
15 changed.

16 It's funny, this kind of a proposition has
17 been around for a long time. It's often been called
18 the bow wave effect, that with the onset of a new
19 technology, there's an initial hurdle that has to do
20 with prospective loss, that you're adjusting the
21 status quo. Once you're passed it, it looks, kind of
22 looking back, it looks ridiculous that people were so
23 concerned. This is something that we've seen with
24 fluoridation, with compressed steam, and with all
25 kinds of technologies over time. And so I'm not so

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sure, as you are, that it's a counter-instance to
2 explanatory power.

3 It is the case, however, that when you
4 listen to all of the propositions made before an
5 event, you're going to hear all kinds of strange
6 stuff. I think it's incumbent on us to ask quite
7 carefully what is the empirical and theoretical basis
8 for the claim before we treat it as if it was a
9 scientific proposition. But I think that sort of gets
10 at my general answer to your question. We could go on
11 at length on this, especially if you gave me a beer.

12 MEMBER WEINER: A final question - what
13 advice beyond broadening the makeup of these
14 committees did you have? What advice would you have
15 for a regulatory agency that is dealing with social
16 risks?

17 MR. JENKINS-SMITH: I would encourage
18 regulatory agencies that are dealing with these kinds
19 of problems to actually have staff positions; in other
20 words, people who are part of the agency who are
21 trained in those areas, who actually have studied
22 these kinds of social risks, and engaged in that kind
23 of research.

24 The difficulty that agencies have
25 typically when they bring in people who chiefly have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 engineering and other technical backgrounds is that
2 it's hard to make judgments about what counts as
3 theory and what's just a claim. I think one of the
4 bad raps that social science gets is it's so entangled
5 in politics that people who haven't formally studied
6 it, don't really have the ability to differentiate the
7 kinds of problems that are before them.

8 I also think that having people on the
9 inside of agencies who understand that language and
10 the concerns that are associated with it would permit
11 much more productive conversation between that agency
12 and affected communities, and also with elected
13 leaders.

14 MEMBER WEINER: Thanks. Does anybody want
15 to add anything? Kevin is looking as if he does.

16 MR. CROWLEY: This is Kevin Crowley. I
17 would like to add to Hank's excellent comments. As he
18 was sitting here talking about these issues, I was
19 smiling because I was thinking about all of the
20 discussions that went on within the committee. We had
21 15-16 individuals of whom three were social
22 scientists, hard core social scientists, and the
23 others were pretty hard core technical people, and
24 then some people who kind of straddled the area. Neal
25 Lane was a good example of a straddler, even though

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 he's a physicist by training, through his government
2 and policy work, he's been exposed to the social side,
3 and I think is very intuitive on a lot of these
4 issues.

5 But there was an initial time during the
6 committee's meetings - we spent a lot of time just
7 breaking down the barriers between the technical
8 people and the social science people - and it wasn't
9 just learning the language, but that was a part of it,
10 because social scientists are very precise in their
11 use of terms, and the technical people tend to be a
12 little sloppy in their use of a lot of social science
13 terms. I think there's a sense that gee, we're all
14 people, so we all understand the stuff.

15 CHAIRMAN RYAN: Full scale/half scale.

16 MR. CROWLEY: The point I wanted to make
17 was this. I think that when we really began to make
18 progress was not only when we learned to speak each
19 other's language, but particularly on the side of the
20 technical, what I'm calling the technical experts,
21 although social -- we never found good terminology to
22 differentiate these two groups, values, technical and
23 social science.

24 There was an acceptance on the part, I
25 think, of the majority of the technical people that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this was important, and it was legitimate. There's a
2 tendency, and I see it all of the time, without
3 referring to any particular committee, but within some
4 of our committees that have both technical and social
5 science, and also out in the world when you get into
6 a meeting and you have a social scientist standing up
7 and speaking to a group of technical people, there's
8 a tendency to dismiss a lot of that stuff. And when
9 we really began to make progress in the committee was
10 when there was a recognition and an acceptance that,
11 you know, this is important. We may not understand it
12 very well, but this is a hurdle that we have to get
13 over.

14 And I think where the committee came out
15 on a lot of its recommendations, particularly in this
16 area, is that this is not a problem you can solve.
17 It's a problem that you try to learn more about, and
18 it's a problem that you work with the affected people
19 to try and manage. And I think the term "manage" here
20 is key. And that's why you're seeing in the report
21 the recommendation for expanding these advisory
22 committees, or augmenting existing committees so that
23 you bring people on who can help in this understanding
24 and management.

25 MEMBER WEINER: Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER CLARKE: Excuse me, Ruth.

2 MEMBER WEINER: Yes.

3 MEMBER CLARKE: Could I make a comment?

4 MEMBER WEINER: Please.

5 MEMBER CLARKE: As I was listening to
6 Hank's answer, I was also reminded of one of those
7 committees that Allen and I were on, the management of
8 legacy waste sites, the first stewardship committee.
9 And we had social scientists, and one in particular,
10 and there are barriers, and I think many of those
11 barriers were broken down through those conversations
12 that you have outlined, so I think that is a good
13 suggestion.

14 MEMBER WEINER: We have not discussed
15 route selection. Oh, we have another comment.

16 MR. RULAND: Yes. Bill Ruland, again, the
17 Spent Fuel Project Office. We've read the report and,
18 of course, we scratched our heads a little bit when we
19 saw that social risk discussion. As you can see, the
20 two recommendations don't directly effect the NRC.
21 But what we can do, and we have been doing is really
22 we have an extensive outreach program in the Spent
23 Fuel Project Office to talk to groups that are
24 affected by transportation. You've all met Earl
25 before, I know, and we devote a significant portion of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 his time to go out to these groups to listen to their
2 viewpoints, and to try to bring back some of what we
3 hear. And it's something we've done up to this point,
4 and we continue to take a serious look about what we
5 do in this area.

6 And, in particular, we're right now
7 considering a contract where we kind of try to help
8 ask SANDIA, not necessarily a group of social
9 scientists, to help us come up with some demonstration
10 aides so we can kind of demonstrate and try to educate
11 folks. At this point, that's what we see our role in
12 this area is. Yes, we continue to kind of think about
13 it, but as the committee has learned, it is important.
14 It's part of really the fabric of our office, and I
15 believe it's the fabric of the NRC at-large, to really
16 listen to the number of publics we have out there.
17 Thank you.

18 MEMBER WEINER: Joe, would you like to
19 comment, moving to another topic, unless somebody else
20 wants to make a comment about social risk. Hearing
21 none, would you like to give us a brief rundown on
22 what you did with routing?

23 MR. MORRIS: Actually, Kevin's
24 presentation did cover the key conclusions and
25 recommendations on routing, and I'll just remind you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what Kevin said. The committee had two distinct
2 tasks; one was the broad task of looking at the
3 technical and social concerns connected with potential
4 future large-scale shipments, mainly of commercial
5 spent fuel. And the second task was a specific
6 Congressionally mandated task to look at how the
7 Department of Energy made routing decisions for
8 shipments of research reactor spent fuel in the United
9 States. And this has to do with most of the shipments
10 that have taken place of research -- the largest
11 quantity in the last decade, at least, has been
12 foreign research reactor spent fuel that's repatriated
13 to the U.S., and comes in mostly Charleston, South
14 Carolina, and goes to DOE facilities in Nevada or in
15 South Carolina. But there are other flows of research
16 reactor fuel, as well, including fuel from university
17 reactors, which is not the direct responsibility of
18 DOE, because the universities here are NRC licensees,
19 and also shipments from DOE reactors.

20 The committee's understanding was that
21 this study charge came out of a specific -- primarily
22 was the result of a specific controversy over a
23 specific one of these shipments of some foreign
24 research reactor fuel from the Savannah River facility
25 in South Carolina by truck to Idaho in 2001, that the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 State of Missouri objected to, and attempted to stop,
2 so that was the background of it.

3 The committee's conclusions have to do,
4 first of all, with DOE procedures, which the committee
5 thought were reasonable and sufficient for planning
6 the routes for these shipments. And also, with the
7 DOT regulations. DOE is responsible for the
8 management of certain of these shipments, DOT writes
9 regulations that govern highway shipments of high
10 level radioactive waste and spent fuel. And the
11 committee concluded in that regard that DOT's highway
12 routing regulations, which largely govern the way the
13 Department of Energy routed that 2001 shipment that
14 went through Missouri were also reasonable regulations
15 if they were followed and practiced in the way that
16 their framers intended them to be.

17 Beyond that the committee, I believe, saw
18 that experience as very useful historical experience
19 of an actual ongoing program involving the ongoing
20 shipment on a routine basis of spent nuclear fuel on
21 an orders of magnitude smaller scale than what would
22 be involved in disposing of all the commercial reactor
23 fuel in the country; but, nonetheless, a good example
24 of how DOE confronted and overcame some of these
25 problems having to do with routing and other aspects

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of management of the program. And the committee
2 highlights the routing practices, in particular, the
3 formal procedures for consultation with states, and
4 with tribal organizations along the routes as a
5 worthwhile example that is applicable, keeping in mind
6 the differences in scale that greatly complicate the
7 problem, but is applicable as an example for
8 procedures that DOE can follow in larger scale
9 programs.

10 Beyond that, I think if there are
11 questions about the --

12 CHAIRMAN RYAN: Just a little piece of
13 anecdotal experience that picks up on Professor
14 Jenkins-Smith's comments. As a resident of
15 Charleston, South Carolina for many years, I can
16 attest to the pattern of lots of press, lots of
17 interest about the first shipment of reactor fuel,
18 research reactor fuel, then it went away. The first
19 MOX fuel shipment that went to Duke that came in
20 through Charleston. Charleston is an interesting
21 entry point for lots of things. It's I think the
22 third-largest seaport on the east coast for material
23 coming into the United States, but it was very
24 interesting, I think, to me, and it's interesting to
25 hear that there really is a social science pattern to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that, that the, let me call it uproar, for lack of a
2 better word, or attention that it got, was very
3 intense, very short-lived, and then non-existent. So
4 shipments come and go, and I'm sure there have been
5 dozens of them over time, or hundreds maybe.

6 MR. MORRIS: Hundreds. On the order of
7 hundreds, I believe.

8 CHAIRMAN RYAN: Hundreds. And it was only
9 the first one or two that kind of got the attention,
10 and everything has been running like clockwork, as far
11 as I can tell, ever since. It's interesting.

12 MR. MORRIS: That was an instance where
13 the specific circumstances, the specific political
14 circumstances are unique to every case, but that was
15 an instance where, in fact, the states and DOE, and
16 others involved; for example, the railroads, did
17 realize that they were compelled to sit down and work
18 out some understandings, which were then put into
19 writing in transportation plans that govern that
20 activity, in a sense.

21 CHAIRMAN RYAN: And I guess that leads me
22 to the question, I wonder if it would be helpful to
23 collect as many of these kind of case studies, as
24 possible, and see if there's some other pattern that
25 might better inform trying to get the process going

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 earlier rather than later, thinking of a new activity
2 along these lines. Because, I mean, there are lots of
3 them, there's not just the Savannah River, Charleston.
4 There are lots and lots of shipments that have
5 occurred. We've heard about lots of hazardous waste
6 or hazardous material, or radioactive material kinds
7 of shipments. It would be interesting to see if we
8 can tease out some patterns that might be informative.
9 And again, I'm thinking more broadly, just the social
10 aspect as one, and also the government affairs aspect.
11 I mean, those tend to be pretty complicated puzzles to
12 sort out. And Lord knows, South Carolina's politics
13 are relatively unique in many ways.

14 MR. MORRIS: I believe that, and maybe
15 Hank Jenkins-Smith can comment on this, but I believe
16 that some of the social science research on these
17 phenomena that have to do with public reactions to
18 radioactive waste shipments were situated on the
19 experience of these foreign research reactor
20 shipments.

21 MR. JENKINS-SMITH: Yes. A great deal of
22 the initial work was based on that and, of course, on
23 WIP. But the interesting finding that is still out
24 now on the South Carolina case was that in part, if
25 you recall, when that started up, the state sued the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 federal government to stop the shipments, and the
2 boats bringing the spent fuel over to the United
3 States had to circle around in the ocean for a while
4 as the court sorted out what it was going to do. And
5 when the shipments were about to arrive, the
6 *Charleston Courier* had a front page story with a line
7 in red showing where the route was going to go
8 alongside the governor's rather extraordinary
9 statements about the likely affect on the health of
10 the citizens when it did. And that event is a classic
11 instance of both the expectations of loss in the
12 initial case, and the mobilization of interest in
13 trying to define the risk. And we've learned an awful
14 lot from that, and it's still being studied, in fact.

15 CHAIRMAN RYAN: Thanks.

16 MEMBER WEINER: We have another comment.
17 Judith, would you introduce yourself.

18 MS. HOLM: With your approval, I'm Judith
19 Holm. I'm from the Civilian Waste Program in the
20 Department of Energy, and we are a co-sponsor of the
21 report, and I thank the committee again, and Kevin for
22 all the work they did. Our feeling is that yes, we
23 agree, there is a good system out there. We have been
24 working within that system, and I wanted just for this
25 committee's information, we welcome NRC's support, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Earl and I have worked together a long time. The
2 groups that he has been providing information to about
3 the regulatory structure and NRC's role are the four
4 state regional groups that we sponsor, the
5 Transportation External Coordination Working Group is
6 a group that our office sponsors and has managed for
7 some 10 to 15 years now.

8 We agree that it's important to have the
9 dialogue between technical and social science, and
10 policy people. Don't forget the policy people,
11 they're critical to this discussion, so I wanted to
12 welcome any of you who are interested to attend any of
13 these regional group meetings, of the tech group that
14 meets twice a year. Come and see what we're doing.
15 We do have a number of activities in committee
16 underway addressing routing, and establishment of
17 criteria, as you've suggested, working out the
18 emergency preparedness funding system. We're hopeful
19 that we'll be able to publish policy on that fairly
20 soon, so we take your suggestions seriously, and are
21 working through some of those suggestions right now in
22 DOE. Thank you.

23 MEMBER WEINER: Thank you. Does any
24 member of the committee, do you all have any further
25 items you want to comment on?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CROWLEY: You've mentioned emergency
2 response service times, and I was prepared to just
3 make a few comments about that, if you'd like.

4 MEMBER WEINER: Please.

5 MR. CROWLEY: Okay. Allen, did you have
6 a --

7 VICE CHAIRMAN CROFF: No, go ahead.

8 MR. CROWLEY: Okay. All right. Well, you
9 may remember that the recommendation, again, was DOE
10 should begin immediately to execute its emergency
11 responder preparedness responsibilities. And the
12 committee recommended four particular steps that DOE
13 might want it to take. And before I mention those,
14 let me say that I think there was a lot -- again, this
15 was one of those issues that got a lot of internal
16 discussion during the committee meetings, and we had
17 a committee member, Lacy Suiter, who was an Emergency
18 Management Professional. He ran the Tennessee FEMA
19 for 12 years, and then was in a high level position in
20 the U.S. FEMA before he retired, and he still does a
21 lot of consulting work, so he understands this area
22 very well. And I think it was his sense that DOE is
23 really missing an opportunity here, because emergency
24 responders tend to be -- they're highly thought of
25 within communities, they tend to be ambassadors to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 communities, and when a public official or a member of
2 the community says - they hear about the spent fuel
3 and high level waste shipments coming through the
4 community and they say, is this safe? Can we handle
5 this? Having emergency responders who are trained to
6 understand what's going out and can respond to the
7 political leader or to the citizen, yes, this is okay,
8 we can handle this. There's a real advantage to that.
9 So in that spirit, the committee made four explicit
10 recommendations for steps that DOE could take.

11 The first is to establish a cadre of
12 trained emergency responders and to do this early, and
13 to focus on the long-term professionals. Over 75
14 percent of fire departments are either volunteer or
15 part-paid fire departments, and there's a lot of
16 turnover. So what you want to do is you want to focus
17 on the people within those fire departments who have
18 been around for a while and are likely to be around,
19 and in the very early stages, focus on train the
20 trainer activities, and try to get some input to your
21 planning process. And I know some of that is already
22 going on within the TEC.

23 The second recommendation was to work with
24 DHS to provide consolidated all-hazards training.
25 Under Section 180(c) of the Nuclear Waste Policy Act,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DOE is responsible for providing financial support for
2 emergency responder training. The committee felt that
3 that support could go a whole lot farther, and be a
4 lot more effective if emergency responders received
5 training for spent fuel and high level waste emergency
6 response as part of the other types of hazard training
7 that they get, so that was the second one.

8 The third recommendation was to include
9 trained emergency responders on escort teams. The
10 committee noted that this would be a little easier to
11 do if you were transporting material by rail, and
12 particularly by dedicated train. But the thought
13 there was, again, part of it is making your limited
14 resources go farther, but the other part of it was,
15 these people can establish liaisons with the emergency
16 response organizations in the communities through
17 which these shipments pass, so that you are, again,
18 developing the good ties that you want to have to make
19 the program success. And also, if there is an
20 accident or an incident, that the emergency responder
21 on the shipment is there as a resource to the local
22 incident commander.

23 And then finally, the fourth
24 recommendation was to use emergency response
25 preparedness as an outreach to communicate more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 broadly with communities about transportation plans
2 and programs. And the idea, a couple of suggestions
3 there the committee made were, for example,
4 establishing a website where communities who would see
5 these materials coming through could find out about
6 DOE's emergency response programs, and about
7 preparedness in their communities. And also, perhaps,
8 even getting school children involved in, for example,
9 making environmental measurements along sites. So the
10 committee felt that there was a lot that DOE could be
11 doing and wasn't doing to take advantage of the
12 outreach opportunities in the emergency response area.

13 CHAIRMAN RYAN: One follow-up question,
14 Kevin. That all sounds great, and I know a lot of
15 that goes on, but delivery in an emergency is a whole
16 different matter. And in that transportation
17 accident, under the authority of the governor in the
18 state in which it occurs, the governor has authority
19 over what happens in the state. And if he wants
20 somebody else's help, he has to ask, he has to ask the
21 Feds and whoever it might be.

22 MR. CROWLEY: Well, initially the --

23 CHAIRMAN RYAN: Let me finish my question.
24 So what I'm thinking about is how do you develop a
25 plan - this is a general question - it's not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 specifically about the governor's authority. How do
2 you develop a plan of implementation to go along with
3 your plan of training, because without both, I think
4 you're wasting your money on either side by itself.

5 MR. CROWLEY: When you say "a plan of
6 implementation" what are you --

7 CHAIRMAN RYAN: How are you going to roll
8 it out? I mean, we're going to train a bunch of
9 firemen, pick a town, in Washington, Bethesda, and
10 we're going to get the first responders, who are
11 firefighters. We are going to get emergency medical
12 people, and others that might be potentially involved
13 in a response, police, the whole works. So we train
14 them all, and now there's a rail accident, and the
15 railroad emergency response team, who owns the track,
16 says we're in charge. And, of course, firemen -- how
17 do you deal with the fact that when you have a
18 response to a significant event, that you really have
19 to understand the hierarchy and have some integrated
20 plan on how you're going to make all those pieces fit
21 in reality, and exercise that in some way. Having
22 been involved in a few transportation emergency
23 exercises over the years, that's the number one issue.
24 It's not how do we get the equipment there and break
25 out the radiation detection gear and all the rest.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 It's who's going to give us authority to go measure
2 something.

3 MR. CROWLEY: Well, if Lacy were here, I'm
4 sure he could give you a very detailed response to
5 that.

6 CHAIRMAN RYAN: But does the report go
7 into that, I guess is my question.

8 MR. CROWLEY: The report recognizes that
9 there is a system in place for response to accidents.
10 If it were, for example, a rail accident, the rail
11 operator does have a certain responsibility, but there
12 would be an incident commander, and the incident
13 commander would be appointed. It would be the county
14 official or the city official, depending on what --

15 CHAIRMAN RYAN: Or the state. It could be
16 a state official.

17 MR. CROWLEY: Well, if it were a
18 significant emergency, the state might come in.

19 CHAIRMAN RYAN: Well, in some counties
20 they don't have resources. I can name several --

21 MR. CROWLEY: But, again, there's a
22 different system within each state.

23 CHAIRMAN RYAN: That's my point.

24 MR. CROWLEY: And usually, there's a
25 memorandum of understanding among the localities in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the state that guide that.

2 CHAIRMAN RYAN: Good training without an
3 implementation plan doesn't go very far. That's my
4 point.

5 MR. CROWLEY: I don't think the committee
6 would disagree with that.

7 CHAIRMAN RYAN: But I think that's
8 something that we ought to take to heart, because how
9 you train and who you train doesn't really come from
10 an external view of who should be trained. It comes
11 from how does that system work politically and
12 socially, and who are the decision makers and the
13 responders. Those are the people you train.

14 MR. MORRIS: One point that is in the
15 report that's a little bit related to that concern is
16 that the way to approach preparing the emergency
17 responders for these kinds of incidents is to
18 integrate that training and preparation in with
19 broader -

20 MR. CROWLEY: All-hazards training.

21 MR. MORRIS: -- all-hazards emergency
22 response training, rather than to see it as a separate
23 activity.

24 CHAIRMAN RYAN: The other thing that maybe
25 it's a component you thought about, or maybe it's one

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 should be thought about, is typically, the owners of
2 transport units, casks, have emergency response teams
3 that can be on a plane and get anywhere in the United
4 States in relatively short order, typically under four
5 or five hours, because their asset is at risk, so I
6 think integrating real experts on the equipment that
7 might be involved, whether it's a railcar, a rail
8 cask, or a truck, or whatever it might be, is a
9 dimension that people ought to think about, too.

10 MR. CROWLEY: There has been a lot of that
11 thinking done. For example, I know that there's a
12 memorandum of understanding among nuclear power plant
13 operators, if you have an accident close to a plant,
14 that operator can be called on for technical
15 assistance. I think a lot of those are in place. Now
16 whether or not they function as they're intended to
17 function is another question. But DOE doesn't have
18 responsibility for the implementation side, they have
19 a responsibility for the training side. They do
20 exercises in order to try to exercise that to make
21 sure that everybody's on the same page.

22 CHAIRMAN RYAN: But there's a national RAP
23 program, Radiological Assistant Program, and they do
24 respond, and there's Broken Arrow responses.

25 MR. CROWLEY: That's right, there are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 several levels of response.

2 CHAIRMAN RYAN: So DOE does respond to
3 that RAP program.

4 MEMBER WEINER: Allen, you had a question?

5 VICE CHAIRMAN CROFF: Yes. I had a
6 question on the routing business. Did the committee
7 form any insights as to the adequacy of the databases
8 that drive these routing analyses; in particular,
9 population densities along the various routes, and
10 whether they're adequate?

11 MR. CROWLEY: Joe, you should take that,
12 because that came up explicitly in the research
13 reactor routing study, and I'm thinking there the
14 broad risk assessment that was done.

15 MR. MORRIS: Yes. The committee did not
16 review the models in detail, but certainly their
17 understanding of it was that the models - well, DOE
18 used the highway and interline routing model in the
19 RAD TRAN Risk Estimates in the EISs. The EIS's
20 conclusion was, essentially, that this trans -- EIS is
21 for the research reactor spent fuel shipments. The
22 EIS's conclusions were basically, this is a very safe
23 activity. They didn't quite put -- I forget exactly
24 what the words were. It's quoted in there, but
25 basically that the risk en route don't rise to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 level of where this is a major concern, is basically
2 where it ended up. EIS didn't attempt to use those
3 models for comparing routes, and this was kind of part
4 of the problem with down the road when the State of
5 Missouri and the State of California started
6 objecting, how do you know that our route is really
7 safer than the route through the State of Nebraska?

8 When DOE started working with the states
9 in these working group to pick the routes, the first
10 thing they did was apply the DOT regulations, which
11 are very cut and dry. And DOT regulations say
12 basically, you go by an interstate, you go by the
13 shortest route, you go by the shortest route from your
14 point of origin to the point on the interstate that
15 will take you where you're going, and the states can
16 write exceptions to that, the states can make specific
17 exceptions to that. So if you apply all those rules -
18 and these regulations go back to the 70s, I believe,
19 and DOT when they enacted the regulations did not
20 require any detailed route-by-route comparisons - so
21 when you apply all the rules, you come up with a route
22 basically without going through detailed risk
23 assessments of alternative routes. And so the
24 committee's recommendation or conclusion was that
25 that's a reasonable process, even though it does not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 involve detailed route-by-route comparisons.

2 Now the report goes one step farther than
3 that, and it says that in some of this more
4 microscopic examination of the routes, it seems like
5 they were making decisions that could have been
6 informed by data had it been available, but which were
7 not, because the data were not available. And just
8 one example was that it seemed like the states had a
9 preference for routes where emergency responders were
10 already trained, because that would mean they wouldn't
11 have to train new emergency responders on some other
12 route. But the implication of that is to tend to bias
13 routes, or might be to tend to bias routes toward high
14 population areas because that's where emergency
15 responders are most likely to have training.

16 Well, there's no model that I'm aware of,
17 or that seems to have been applied in these situations
18 for analyzing those kinds of choices. Now maybe you
19 could have, or simply other tradeoffs had to -- routes
20 were avoided because they went through mountains -
21 train, for example. Again, was any specific analysis
22 done in that kind of a microscopic setting, and I
23 don't know of any, so that's a long-winded answer.
24 But the models that exist were not used for route-by-
25 route comparisons of risk, because that's not what the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 regulations call for. The regulations shortcut that.
2 The report says there are worse situations where there
3 should have been more analytical power brought to bear
4 on the problem and it wasn't, and probably tools ought
5 to be developed for that and they don't exist.

6 MEMBER WEINER: Just to expand on that,
7 that was partly a result of the tools available at the
8 time. There has been considerable expansion of the
9 applicability of these tools, and the incorporation of
10 the sort of data that you're talking about. One big
11 lack, which has always existed, is that none of the
12 tools used incorporate things like mountainous
13 terrain. That's always a decision that you sort of
14 make on the ground, so to speak. But if we were to
15 redo that foreign fuel research analysis, you would
16 see a much finer division, and it could be used for
17 route-by-route comparison. In fact, DOE does a great
18 deal of that right now for all kinds of things, not
19 just spent fuel. It's something that is very easy to
20 do.

21 I was going to ask about emergency
22 response. Since most of the transportation of spent
23 fuel will not take place for more than five years,
24 probably ten, and since most of the emergency
25 responders, which is, as Joe has noted, are not in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 urban areas. Most of the routes and most of the
2 emergency responders are volunteer fire departments,
3 and the personnel tends to change over on the more
4 than annual basis, are you suggesting a continuous
5 program of training, or is there some optimum time at
6 which the training should begin? I mean, looking at
7 the fact that there are not infinite resources
8 available for this, did you discuss that in the
9 report?

10 MR. CROWLEY: Well, there was long
11 discussion about that within the committee, and there
12 is discussion about that in the report. The committee
13 heard from several individuals during the study that
14 it's too soon to start training, and I think Lacy, in
15 particular, but also some of our other committee
16 members just didn't buy that argument. They said
17 there are some things you can do very early, and one
18 of the things that they highlighted that you could do
19 very early would be to identify the permanent members
20 of those departments. While there is a lot of
21 turnover, there are also a cadre of people who are
22 there for a long time, and you can focus your initial
23 efforts on those people.

24 The committee was not advocating a large-
25 scale training program of people who weren't going to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be there when you were ready to ship the fuel, but I
2 would also point out that the committee also said one
3 of the other things you should do is you should work
4 with DHS to provide training as part of all-hazards
5 training. This is training that everybody gets, and
6 so DOE doesn't have to establish these individual
7 training programs or provide aide to states to
8 establish individual training programs. You make it
9 as part of training the firefighters and other
10 emergency responders get just as a matter of course.

11 MEMBER WEINER: Are there any further
12 comments from anyone in the room? Hearing none, I'm
13 going to turn - oh, sorry. Excuse me. How could I
14 neglect you, John?

15 MR. KESSLER: John Kessler, Electric Power
16 Research Institute. EPRI also co-funded the study and
17 I want to thank the NES panel for a nice discussion of
18 the issues. It certainly was a tough task. There's
19 a couple of gems in there I really like. One, for
20 example, is the description of the drop test onto an
21 unyielding surface, the combination of the two.

22 I think that what confused me in the end
23 all boils down to this issue of risk, and definitely
24 have to put it in quotes, at least for a technical guy
25 like me. Lest we technical people get a little too

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 smug, Ruth, I guess I would argue that we certainly
2 deal with a lot of uncertainties on the technical
3 side, as well. And in the end, what's always missing
4 from these arguments, and I think is also missing from
5 this one, is there's only so much money we can spend
6 on this. And in the end, am I supposed to, as a
7 policy maker, spend my money refining the release
8 fraction from a certain kind of fire event, or am I
9 supposed to spend my money on maybe instituting some
10 sort of new external citizens advisory board or
11 something like that?

12 I guess my uncertainty, pardon me for
13 using that word, was I'm having a hard time
14 understanding the commonalities in the use of "risk",
15 the use of "risk-informed", the use of "bounding", the
16 use of "credible accident scenarios", and how I mix
17 social risk versus what, for lack of a better word,
18 technical risk all together. I guess specifically on
19 the fire one, there were words sprinkled through the
20 report about using risk-informed approaches or risk-
21 based approaches. I've probably got the words
22 slightly wrong there, and yet we come to the fire, it
23 seems as if we're talking about credible accident
24 scenarios, where you're talking about sort of a
25 bounding situation. And just on the technical side,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that seems somewhat inconsistent, and I was looking
2 for a clarification, which maybe I just missed when I
3 read the report.

4 And I guess my last feeling about the risk
5 is that well, I keep thinking we talk about social
6 risks, and are we really talking about risks, or maybe
7 it's on the technical side that we don't know what
8 risk means. And I keep thinking that we bandy these
9 terms around just to make the other side happy, and in
10 the end, I'm still left with this idea of okay, in the
11 end we, as a society, have to make a decision, are we
12 going to do this, or aren't we going to do it? And if
13 we're going to do it, how are we going to do it? And
14 while I appreciate the need for social risks to be
15 mixed up with the technical risks, the end of the day,
16 I still wasn't quite sure what the NES was
17 recommending regarding how one uses social "risks",
18 and mixing it up with the technical risks.

19 MEMBER WEINER: Thank you. Hank, if
20 you're still on. Hank? I guess he's not.

21 MR. CROWLEY: Can I take a crack at that?

22 MEMBER WEINER: You certainly may, Kevin.

23 MR. CROWLEY: Well, I think there are a
24 couple of main takeaway messages from the report. The
25 first is that from a technical basis, there really are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 no barriers to the safe transport of waste. I hope
2 that was the message that came through pretty clearly
3 in the report. And I think the other message that I
4 hope came through pretty clearly is that the
5 radiological risks are generally well understood, and
6 they're low. Those are really the two big messages.

7 There were a variety of other messages.
8 One of the messages, I think, and again, this was from
9 the social science side, is that there are these
10 social issues that have to be attended to. And that
11 if you ignore them, you ignore them at your peril.
12 And again, we're not talking about solving them, we're
13 talking about understanding them, and working with the
14 affected communities to manage them. And the
15 committee tried to recommend pragmatic ways to do
16 that.

17 With respect to the very long duration
18 fires, actually, I think what the committee wanted to
19 see happen is what you heard Earl say he was doing,
20 which is to demonstrate a bounding understanding. And
21 one can do that probably without spending a lot of
22 money. In fact, one of the points that the committee
23 made was that the number of additional analyses that
24 might need to be made are pretty small, so I think
25 those are the messages that you want to take away.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WEINER: Before calling on John, I
2 have to ask one question. You said, "You ignore the
3 social risks, and ignore them at your peril." Am I
4 quoting you correctly?

5 MR. CROWLEY: That's what I said, and
6 that's not what is in the report. That is my
7 interpretation of what's in the report.

8 MEMBER WEINER: Okay. My question to you,
9 for your interpretation, is what peril? I mean,
10 suppose there is a massive objection to something, and
11 to some shipment, as there is, and you do it anyway
12 because you know that the risks are small, if even at
13 all. And it happens, and then it's done, and that's
14 that. And generally speaking, as we have heard, the
15 social risk goes away, as well, so what peril?

16 MR. CROWLEY: I would hazard to say that
17 you'd probably get disagreement with Hank on that. If
18 you manage the social risks well, and you run the
19 program well, they're manageable. I think that's what
20 he would say.

21 The other point I would make about that is
22 that the committee sensed, and you'll see this in the
23 report, that sustained implementation of large
24 quantity shipping programs was likely to be a
25 challenge from a social point of view. And it's not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the shipment that you make here and there, it's these
2 large programs that are going to be shipping for long
3 periods of time, where you really have to attend to
4 these issues.

5 MEMBER WEINER: Yes. I recognize the
6 committee made a big point about consistently seeing
7 to it that regulations were abided by. John, did you
8 have a further -- hearing no further comment, I'll
9 turn it back to the chair.

10 CHAIRMAN RYAN: Thanks. And that's an
11 excellent discussion. I'm glad we had lots of
12 participation and comments from your sponsors, as well
13 as comments from you about your report. And thanks,
14 Ruth, for leading us through a good discussion.

15 We're at a break in the agenda a few
16 minutes early, so in order to conserve the later hours
17 of the evening for other activities for us and you,
18 why don't we just take a -- come back a few minutes
19 early, at say 25 minutes to 5, and we'll start a
20 little bit early. Instead of 4:45, we'll make it
21 4:35, and see if we can get a little bit ahead of the
22 game on our next presentation on NORM radioactive
23 material.

24 (Whereupon, the proceedings went off the
25 record at 4:22 p.m., and went back on the record at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 4:37 p.m.)

2 CHAIRMAN RYAN: All right. If we could go
3 back on the record please? Without further ado, Lydia
4 Chang is here to talk to us about natural and
5 accelerator-produced radioactive material rulemaking
6 and how the formerly unincorporated radioactive
7 material will now be incorporated into 10 CFR.

8 So, Lydia, welcome. And we are pleased to
9 have you with us today. Thank you.

10 MS. CHANG: Thank you. Again, my name is
11 Lydia Chang. I'm with the Rulemaking Guidance Branch
12 within NMSS.

13 And today I'm just going to kind of give
14 you an overview of the normal rulemaking efforts.
15 First I will briefly touch upon the Energy Policy Act
16 of 2005, the waiver that we issued, and the approach
17 that we took and the strategy that we tried to
18 implement. And give you a very high-level summary of
19 the proposed rule and talk a little bit on the
20 implementation consideration, the current schedules,
21 and the next steps.

22 As you know, the Energy Policy Act of 2005
23 was signed into law on August 8th within Section
24 651(e) of the Energy Policy Act amended the definition
25 of byproduct material in the AEA Section 81(e). And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 also within that section, it amended the definition
2 within an agreement state portion. It also amended
3 AEA Section 81 indicating that this newly-defined
4 byproduct, it is not low-level waste and therefore
5 provides additional disposal options for disposal of
6 such material.

7 It does require NRC to issue the final
8 regulation within 18 months which is an extremely
9 aggressive schedule. It also allows NRC to grant a
10 time limit waiver so that we can have a smooth
11 transition from NRC authority over to the agreement
12 state.

13 Specifically, Section 651 amends the
14 definition to include discrete sources of radium-226,
15 material made radioactive by use of product
16 accelerator and also any other discrete source of
17 naturally occurring radioactive material that poses a
18 similar threat in radium.

19 The material is also limited only to
20 radioactive material that is produced, extracted, or
21 converted after extraction, before, on, or after
22 August 8, 2005. And it is used for commercial and
23 medical research activities.

24 Since the NRC policy act does allow the
25 Commission to grant a waiver, NRC evaluated the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 situation, and published such waiver on August 31st in
2 the Federal Register notice. That waiver allows any
3 individuals engaged in activities involving NARM
4 material to continue with their activities and also
5 allows the states to continue to regulate the NARM
6 material.

7 The waiver is effective through August 7,
8 2006 for import and export NARM and it is effective
9 through August 7, 2009 for other NARM materials within
10 the Energy Policy Act and also within the waiver, NRC
11 did indicate that we may terminate such waivers
12 sooner. And we are planning to do that.

13 Our rulemaking approach is to try to
14 cooperate with states. And the way that we tried to
15 cooperate with states is forming working groups that
16 actually had state participation. Not only the
17 agreement state representatives but also non-agreement
18 representatives.

19 We have four members from the states along
20 with the NRC headquarters and regions working together
21 in developing such proposed rule. We also have a
22 steering committee that has made decisions throughout
23 the way. As you know, there are several issues that
24 we need management decisions on that so the steering
25 committee was involved in that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We also had two state representatives
2 sitting on the steering committee making the decision
3 along with NRC management.

4 Another --

5 CHAIRMAN RYAN: Lydia, just a quick
6 question --

7 MS. CHANG: Sure.

8 CHAIRMAN RYAN: -- if I may on states. Do
9 you feel like so far there has been good flow of
10 information from those representatives out to say
11 CRCPD and OAS in all the states?

12 MS. CHANG: Since we have so many state
13 representatives I think within the working group task
14 force and steering committee, the communication is
15 very well. They also have done some ad hoc
16 communication with them through the working group and
17 also through the task force to collect information
18 from the agreement state on the type of regulations
19 they have, the type of issues that they now have.

20 They also have communicated with them on
21 compatibility issues and, of course, back in early
22 January when we sent out the draft Federal Register
23 notice, it was distributed to all states. Not just
24 the agreement states but also the non-agreement
25 states. And we did, you know, receive a fair amount

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of comments from them.

2 So from that perspective, I think we have
3 pretty good communication with them.

4 CHAIRMAN RYAN: Great.

5 MS. CHANG: Whether they are happy or not,
6 that's another story.

7 CHAIRMAN RYAN: Okay.

8 MS. CHANG: As I said, you know, we also
9 have an Energy Policy Act Task Force who has helped me
10 in developing some of the integral bases. And they
11 are also the one who is working on positioning issues
12 to make sure, you know, the final rule will be
13 transitioned to the agreement states in an orderly
14 fashion.

15 We also consulted with stakeholders by
16 having a public meeting back in November of last year.
17 It was a roundtable public meeting with a lot of the
18 communities, especially from the medical field, that
19 participated. We also had other federal agencies such
20 as EPA, DOE, FDA.

21 We also had small meetings with select
22 federal agencies such as FDA. We had a couple of
23 meetings with them to better understand their process
24 in evaluating power facilities. We also had meetings
25 with DoD, DOT, and EPA in developing our definition of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 discrete source and also in consulting with them on
2 whether there are any radioisotopes with naturally
3 occurring radioactive material should be considered to
4 be including the byproduct material.

5 We tried to inform the public as much as
6 we could so we have developed a website within the
7 rule forum to include all the background information
8 within that. So we have the public meeting summaries,
9 transcripts, some background information on the Energy
10 Policy Act. And most recently we also have placed the
11 draft proposed rule on the website.

12 Our normal rulemaking strategy is very
13 simple. As I have indicated before we started the
14 presentation, radioactive material is radioactive
15 material. So in our minds, the naturally-occurring
16 radioactive material or accelerator-produced
17 radioactive material, they have the similar properties
18 as radioisotopes produced in reactors.

19 So where I tried to fit into our current
20 existing regulatory framework and, of course, by using
21 the suggested regulation as the model standard as
22 required by the Energy Policy Act, we did look through
23 the SSRs and tried to incorporate anything that is
24 related to NARM into our regulation.

25 We are proposing to regulate all

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 radioactive material from production --

2 CHAIRMAN RYAN: If I may just interrupt
3 you?

4 MS. CHANG: Sure.

5 CHAIRMAN RYAN: And this is kind of a
6 clarifying question --

7 MS. CHANG: Sure.

8 CHAIRMAN RYAN: -- for some members who
9 may not be familiar that the SSR is the suggested
10 state regulation are what the CRCPD offers to its
11 members but, you know, so they can adopt them.

12 MS. CHANG: Right.

13 CHAIRMAN RYAN: And if they do adopt them
14 into their own formatting structure, because usually
15 it is a matter of formatting and numbering the
16 changes, they are, in essence, compatible with NRC
17 requirements. Is that right? Is it far to say the
18 SSRs in and of themselves are pretty much compatible
19 with --

20 MS. CHANG: Right. Compatible with
21 existing regulations.

22 CHAIRMAN RYAN: So that is a big,
23 important step that the SSRs, if they are current and
24 states use them, they have really taking a giant
25 hurdle to be in compliance with their agreement state

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 obligation.

2 MS. CHANG: That is correct.

3 CHAIRMAN RYAN: Now there may be specific
4 details that have to be addressed or if the state
5 wants to be a little more conservative on some points,
6 they might have a reason to do that. You sometimes
7 get into evaluations of those details.

8 MS. CHANG: Right. I think lots --

9 CHAIRMAN RYAN: It is a big hurdle.

10 MS. CHANG: -- right, I think lots of
11 states do have their own format.

12 CHAIRMAN RYAN: Right. They do try to
13 include additional stuff to suit their state-specific
14 needs.

15 CHAIRMAN RYAN: Right.

16 MS. CHANG: But in general, I would agree
17 with you that the SSR is compatible with the NRC
18 regulations. And I think in the past, of course the
19 relevant section of SSR --

20 CHAIRMAN RYAN: Sure.

21 MS. CHANG: -- because the SSR includes a
22 lot more than the AEA materials.

23 CHAIRMAN RYAN: Fair enough.

24 MS. CHANG: And I do believe that our
25 state program has reviewed those draft documents prior

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to them revising it and putting in final SSRs.

2 CHAIRMAN RYAN: Yes, great. Thank you.

3 MS. CHANG: We are proposing to regulate
4 all radioactive materials from production
5 accelerators. During the rulemaking process, we
6 actually tried to categorize the accelerators from one
7 that produces material and one that doesn't since the
8 Energy Policy Act does indicate that we are only to
9 regulate the material that is produced for medical,
10 commercial, and research activities. We tried to make
11 that kind of distinction.

12 And so in here if it produces material,
13 then we will want to regulate both the intentionally-
14 produced material as well as the incidental material.

15 CHAIRMAN RYAN: Just let me just throw out
16 another quick question. One interesting question
17 about accelerators is, particularly in the medical
18 arena, is that they are getting energetic enough where
19 there is neutron activation in material of
20 construction, you know concrete walls and things like
21 that. Are those materials going to be covered under
22 --

23 MS. CHANG: If it is PET cyclotron that
24 they are producing radioisotopes then it will be
25 covered from the operational safety perspective.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: I'm thinking of a medical
2 therapy unit where photo neutrons are produced.

3 MS. CHANG: Yes, I think about linac, from
4 what I understand, we have been talking to several
5 agreement states and their opinion is that the energy
6 level is still not high enough to pose a concern.
7 Usually it is about six MPAs.

8 And they believe that a lot of the
9 activated materials are short lived. And even the
10 ones that are higher lived, it is still within the
11 system and they do not feel that anything special that
12 needs to be treated.

13 CHAIRMAN RYAN: But thinking ahead for
14 decommissioning, if you have to tear that building
15 apart --

16 MS. CHANG: Yes.

17 CHAIRMAN RYAN: -- there is some level,
18 low level though it might be --

19 MS. CHANG: Yes.

20 CHAIRMAN RYAN: -- and I guess what my
21 real question is at this point, that is under your
22 authority under the Energy -- that would be?

23 MS. CHANG: Once the waste is generated,
24 yes, it will be.

25 CHAIRMAN RYAN: Okay. So --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. CHANG: As probably commercial
2 activity.

3 CHAIRMAN RYAN: Yes. But I mean there is
4 not a license for radioactive material by activation
5 per se.

6 MS. CHANG: No.

7 CHAIRMAN RYAN: But when they go to
8 decommission, they would still have to satisfy --

9 MS. CHANG: They would still have to
10 dispose of them appropriately --

11 CHAIRMAN RYAN: Okay. And that may or not
12 be --

13 MS. CHANG: -- as a radioactive waste.

14 CHAIRMAN RYAN: Right. And that could
15 very well be a, you know, unimportant quantity or some
16 other kind of determination which --

17 MS. CHANG: Right. Right. We just don't
18 want you regulating for 20 years when we don't see any
19 significant hazard associated with their operation.

20 CHAIRMAN RYAN: Fair enough.

21 MS. CHANG: And my last bullet, of course,
22 is the other side -- if they do not produce any
23 radioactive material then we do not want to regulate
24 the activity on a component.

25 The draft proposal summary, I just want to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 give you a very, very high level of the stuff that we
2 have included in the proposed rule. Of course we have
3 amend the existing definition of byproduct material
4 along with some other definitions such as low-level
5 waste.

6 We also have added a couple definitions.
7 The discrete source definition is required by the act
8 to be included. We also have added some other
9 definitions such as accelerator, accelerator-produced
10 radioactive material, things of that sort.

11 We also included a radium 226 and
12 accelerator-produced nuclides to all our 10 CFRs such
13 as in Part 30s, Part 33 regulations. We also have
14 added a section on generalized issues specific for
15 radium 226, part that is for items containing radium
16 226.

17 We provided some grandfather provisions to
18 recognize certain FDA and state programs and also
19 certain individuals. We also allow for noncommercial
20 distribution among medical use licensees to kind of
21 reduce any impact that might have on the rulemaking.

22 CHAIRMAN RYAN: Just a couple of comments
23 --

24 MS. CHANG: Sure.

25 CHAIRMAN RYAN: -- on those definitions.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And tell me if this is helpful or not. But in my
2 first read of the draft when it first came out,
3 recognizing you were going to give us a presentation,
4 I sort of saved this question.

5 I think the definitions are probably the
6 critical thing, or one of them. If we get those
7 right, we won't have many problems. And if we get
8 them wrong, we're going to have all sorts of questions
9 and comments and special cases and all that.

10 MS. CHANG: Right.

11 CHAIRMAN RYAN: And the real question I
12 ask is how are they risk informed. I struggle with
13 discrete sources in particular and let me tell you
14 why. If it is concentration-based, that is not a
15 measure of risk. Not by itself.

16 Concentration without quantity doesn't
17 mean anything much.

18 MS. CHANG: Or without a pathway.

19 CHAIRMAN RYAN: Well, but really just
20 thinking about the radioactive material itself. If I
21 have a very concentrated source but it is a small
22 quantity, I might be able to put it in my shirt pocket
23 and walk out the door. A static illuminator is one
24 example. The source itself is highly concentrated.
25 But the absolute quantity is small.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. CHANG: Yes.

2 CHAIRMAN RYAN: On the other hand, if I
3 get something that is a little more dilute but it is
4 100 curies of something, you know, cesium, pick an
5 isotope. You look at something that is pretty
6 substantial in terms of potential for risk for
7 somebody, you know, inadvertently handling it without
8 knowledge or those kinds of things.

9 So how are we going to with discrete
10 source being something we have got to define, go to
11 the very concentrated but small quantity up to the
12 maybe not so concentrated but specific up to the maybe
13 not so concentrated but significant quantity from a
14 direct exposure or other kind of risk perspective.

15 MS. CHANG: I don't know whether you have
16 read the description of discreet source we came up
17 with. We really did not go into the specific
18 concentration or quantities. We actually tried to
19 take a look at the intent of the material. And also
20 how it is extracted.

21 CHAIRMAN RYAN: I guess what I am
22 suggesting is maybe it would be a take away, homework
23 problem for us to maybe look at that specific action
24 and see if we have any additional thoughts or comments
25 that might be helpful. But again, I'm thinking not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 necessarily to criticize your definition but to think
2 about it from a practical standpoint --

3 MS. CHANG: Right.

4 CHAIRMAN RYAN: -- did we see any cases or
5 opportunities for pitfalls where that definition might
6 not work?

7 MS. CHANG: Yes,

8 CHAIRMAN RYAN: Or could we change in a
9 small way and make it work for everything? You know
10 those kinds of things.

11 MS. CHANG: Right. I mean we struggle
12 with the definition a lot, you know.

13 CHAIRMAN RYAN: Sure, come on down.

14 Well, thanks for that clarification. I
15 didn't mean to get too far off your presentations.

16 MS. CHANG: Right. I was just going to
17 read the definition for you.

18 CHAIRMAN RYAN: Oh, please, yes.

19 MEMBER HINZE: I just want to ask a
20 follow-up question to where Mike was going. The
21 driver for this is the Energy Policy Act? You are
22 revising your regulations to be consistent?

23 Do you have flexibility to explore the
24 definition?

25 MS. CHANG: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MOORE: I can answer that.

2 CHAIRMAN RYAN: Just help us again for the
3 record.

4 MR. MOORE: Sure, I'm Scott Moore. I'm
5 Chief of the Rulemaking Governance Branch in NMSS.
6 And that's the branch that Lydia is in.

7 To answer your question about do we have
8 flexibility to explore the definition, the statute
9 left it to NRC to actually define discrete. So the
10 answer is yes. We do have flexibility to define
11 discreet.

12 And discreet applies to radium 226 and it
13 applies to NORM as well. It does not apply to the
14 NARM provisions in the act. But it applies to radium
15 and to NORM. And we have provided the staff with the
16 rule, which is up with the Commission now.

17 CHAIRMAN RYAN: Okay.

18 MR. MOORE: So you have the rule. It is
19 with the Commission now. And you can see in the rule
20 what the definition is that it is proposing to the
21 Commission and the rulemaking.

22 CHAIRMAN RYAN: Okay. So if we maybe took
23 a careful look and, you know, formulated our comments,
24 maybe had a short session to discuss anything we might
25 have identified or the fact that we did or didn't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 identify anything maybe at our next meeting, would
2 that be possible?

3 Because what I'm trying to think is how we
4 can give you timely comments recognizing your
5 schedule.

6 MR. MOORE: The Commission's -- I think
7 timewise, if you are looking at timing, we had
8 originally planned for the Commission to get an SRM
9 back to us, I think, this month. But it is also
10 possible that the Commission may hold off on voting
11 until after a May 15th meeting that they are holding
12 with the staff and with stakeholders from industry.

13 The OAS CRCPD, the Council on
14 Radionuclides and Radiopharmaceuticals, and also
15 another advisory committee, the Advisory Committee on
16 Medical Use of Isotopes is meeting with the Commission
17 on May 15th. So it is very possible that individual
18 Commissioners may not vote until after May 15th.

19 So if the ACNW chose to write anything or
20 say anything to the Commission, then you know anything
21 before that May 15th meeting may be timely. But right
22 now the rulemaking package is actually with the
23 Commission and they have it for a vote.

24 CHAIRMAN RYAN: Okay. Can we get copies
25 of that around tomorrow? Great thank you very much.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Appreciate it, Scott.

2 MS. CHANG: Yes and the definition of
3 discreet source is actually on page 111 of the
4 proposed rule Federal Register notice. And the
5 discussion, of course, in the supplementary
6 information if you want to see the background on how
7 we developed --

8 CHAIRMAN RYAN: How is it -- what your
9 definition now -- is it relatively short?

10 MS. CHANG: It's only three lines.

11 CHAIRMAN RYAN: Okay.

12 MS. CHANG: It basically says the source
13 with physical boundaries which is separate and
14 distinct from the radiation present in nature and in
15 which the radionuclides concentration by been
16 increased by human process with the intent that the
17 concentrated material will be used for its
18 radiological property.

19 CHAIRMAN RYAN: That is interesting. It
20 sort of allows you to take that and then create a
21 range of sources. Or look at a range of risk settings
22 for material that meets that definition. On first
23 blush, that is interesting. It sounds pretty good.

24 MEMBER HINZE: According to that
25 definition, how well do we monitor those sorts and how

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 do we know where they all are? And so --

2 MR. MOORE: May I? It is important to
3 remember that the definition for discreet source that
4 is in this rule only applies to radium 226 and also to
5 the NORM provisions. And I don't know, because I came
6 in a moment or two late and I apologize for that, with
7 respect to the NORM sources, I don't know if you have
8 said this already, the staff is not proposing in this
9 rulemaking package that any NORM sources be included
10 in the areas that we pick up under jurisdiction.

11 There is a provision under the act that
12 allows the NRC to pick up jurisdiction over discreet
13 sources of NORM that have the equivalent risk of
14 discreet sources of radium 226. And while we are
15 including that in the definition, at this time, we
16 don't envision any discreet sources of NORM that have
17 any risks equivalent to discreet sources of radium
18 226. Essentially there are a placeholder.

19 MEMBER HINZE: Is that taking into account
20 the cores from ore bodies and the exploration?

21 MR. MOORE: It takes into account
22 everything that we know of at this point.

23 CHAIRMAN RYAN: That we know of? That's
24 fine.

25 MR. MOORE: You know we don't, we don't,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 or aren't aware of, and I think the proposed rule
2 would be an opportunity for the public to comment on
3 it and suggest any, if they believe that there are
4 any. But at this point with respect to what we are
5 aware of as a regulatory agency, we don't believe that
6 with respect to discreet sources of radium 226, there
7 aren't discreet sources of NORM that are of the same
8 risk.

9 CHAIRMAN RYAN: The interesting part is I
10 think the words were separate

11 MS. CHANG: Yes.

12 MR. MOORE: Then the definition.

13 CHAIRMAN RYAN: Yes. And then the
14 definition. You know when I think about NORM ora NORM
15 that is somehow enhanced, I think about the sewage
16 treatment plant, and exchange resins and filters and,
17 you know, stuff where materials like that accumulates.
18 How would that fill in. Are those discreet sources?

19 MR. MOORE: Actually the water treatment
20 facilities, we talked about that.

21 CHAIRMAN RYAN: Yes, we have.

22 MR. MOORE: And it would not come under
23 this. There is a couple key provisions that they
24 thought of under this, the staff thought of under this
25 when they came up with the definition that is used in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 definition. The distinct from radiation present in
2 nature, separate and distinct from the radiation
3 present in nature where the radionuclide concentration
4 has bee increased has been increased by human
5 processes with the intent that the concentrated
6 material would be used for its radiological
7 properties.

8 In the case of the water treatment
9 facilities, you are removing it from the water. But
10 there is no intent that you use it for its
11 radiological properties. It is probably just waste.
12 And so in that case, it wouldn't be a discreet source.

13 And it is arguable whether it is separate
14 and distinct in some cases. So we believe -- the
15 staff is of the opinion at this point that water
16 filters resin beds and those kinds of things, would
17 not be a discreet source.

18 MS. CHANG: Oh, and that was --

19 CHAIRMAN RYAN: But it still would be
20 regulated under the NORM -- the new authority under
21 the -- that you would now have over NORM materials
22 because it is NORM or not?

23 MR. MOORE: No. Under the Energy Policy
24 Act, we only have authority over discreet sources of
25 NORM that are equivalent in risk to discreet sources

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of radium 226. And at this time, the staff does not
2 envision any --

3 CHAIRMAN RYAN: And that's -- and I think
4 we discussed the fact that is a pretty big apple to
5 bite into --

6 MS. CHANG: Right.

7 CHAIRMAN RYAN: -- all at once. So I
8 think we understand the strategy is to get this part
9 of the apple digested and then think about other parts
10 maybe later on.

11 MS. CHANG: Right. And I guess another
12 thing is that the Energy Policy Act did indicate
13 radioactive material used for medical, commercial, and
14 research activities. So if it is not used for those
15 purposes, we feel that it is not under our
16 jurisdiction.

17 So when we developed the definition with
18 our federal agencies, we intentionally put in for
19 radiological properties you exclude T NORM material.
20 However T NORM would still be regulated by states.

21 CHAIRMAN RYAN: There are lots of T NORM
22 out there. You look at the oil industry and the
23 phosphate industry, I mean there are very large
24 industry components with T NORM. So --

25 MS. CHANG: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: -- like I said, that's a
2 big apple to bite into.

3 MS. CHANG: Right.

4 CHAIRMAN RYAN: You know it is
5 interesting, too, and I think -- I'm sorry, Derek, but
6 most of the agreement states -- well, most of the
7 states have the authority and integrate management of
8 those materials in part or in whole with their
9 radiological programs and people that are agreement
10 state people. So at least from the agreement states,
11 there is a lot of overlap.

12 MR. MOORE: That is a very good point.
13 And so there ought not be any lapse in regulation
14 between most of the states and the NRC on most of
15 these.

16 CHAIRMAN RYAN: And I think it is
17 important for our record to reflect the fact these are
18 not orphan materials that have no care and feeding at
19 the moment. They are materials that are kind of
20 shifting gears from being regulated in a state setting
21 to now being integrated into the NRC setting and then
22 passed back through the agreement state programs.

23 MS. CHANG: Right.

24 MR. MOORE: Right. Did I answer your
25 question?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: Yes, Scott.

2 CHAIRMAN RYAN: Derek?

3 MR. WIDMAYER: Yes, Derek Widmayer with
4 ACNW staff. Scott and Lydia, this is an area that you
5 are specifically asking the public in the proposed
6 rulemaking --

7 MS. CHANG: That's correct.

8 MR. WIDMAYER: -- right -- for feedback as
9 to whether there are any sources.

10 CHAIRMAN RYAN: We'll take it as an
11 assignment to pay attention to that part in particular
12 and think hard about it.

13 MS. CHANG: Right. That leads to the
14 other proposals we solicit public comments and input
15 on. There are areas that we do that.

16 CHAIRMAN RYAN: Okay. Sorry. I didn't
17 mean to get so far off track.

18 MS. CHANG: Oh, that's fine. No, no, no.
19 Let me just continue. I think we already touched on
20 that. We provide grandfather provisions to recognize
21 the state programs in FDA and also individuals. We
22 also allow for noncommercial distribution.

23 One thing that to us is very important is
24 the implementation strategy for the proposal. Usually
25 we don't include effective date but here we actually

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 include a section discussing our intention. And we
2 are proposing to have an effective date 60 days from
3 the day of the final rule.

4 We also --

5 CHAIRMAN RYAN: Did you get comments on
6 that?

7 MS. CHANG: Probably. But, you know, as
8 soon as they can provide us the basis why it should be
9 longer --

10 CHAIRMAN RYAN: Sure, no, I understand.

11 MS. CHANG: -- I mean we definitely would
12 consider it. Another thing that we have included
13 within the rule is to authorize or allow continued use
14 of the NORM if they comply with our requirements such
15 as reporting requirements, RAS safety requirements.
16 And also we also submit the appropriate documents that
17 we request them to do.

18 We are allowing the individuals to submit
19 license amendment within six months from the effective
20 date. And also allow them for one year to submit the
21 new license application.

22 Our transition plan --

23 CHAIRMAN RYAN: Just a second just so I
24 understand. If somebody has NARM under the
25 definitions, they can submit within six months from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the effective date for a waiver termination a license
2 amendment.

3 MS. CHANG: Yes.

4 CHAIRMAN RYAN: So they are amending their
5 license to keep the material or not keep the material?

6 MS. CHANG: To keep the material. They
7 actually already have the material in hand.

8 CHAIRMAN RYAN: Now why do they have to
9 submit within one year from the effective date of the
10 application and waiver termination?

11 MS. CHANG: We've got to allow them extra
12 time since if they have, for instance, if they have a
13 PET cyclotron, it might take longer for them to
14 prepare license application.

15 CHAIRMAN RYAN: Oh, that's for a situation
16 where they have no license now?

17 MS. CHANG: That is correct.

18 CHAIRMAN RYAN: Oh, okay.

19 MS. CHANG: That's correct.

20 CHAIRMAN RYAN: So there are really two
21 cases. If you have a license and you want to amend
22 it, you get six months. If you don't have a license,
23 you get one year.

24 MS. CHANG: That's correct.

25 CHAIRMAN RYAN: Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. CHANG: And we are planning to
2 terminate a waiver sooner rather than later. And we
3 are trying to do it in batchwise so we can have an
4 orderly transition.

5 The NRC is required to prepare and publish
6 a transition plan to facilitate orderly transition of
7 the regulatory authority for NORM. We are treating
8 the non-agreement state a little bit differently than
9 agreement state within the Energy Policy Act. The
10 governor from the agreement state can actually submit
11 a certification that their program is adequate. Then
12 we can automatically fold the byproduct material into
13 their agreement. And then they can, of course,
14 continue to regulate.

15 For non-agreement states, it will be a
16 little bit interesting depending on their intention
17 whether they want to become an agreement or not. We
18 might want to make some judgment calls on how to batch
19 different non-agreement states on when we want to
20 terminate the waiver.

21 CHAIRMAN RYAN: Oh, that's interesting.

22 MS. CHANG: Yes.

23 CHAIRMAN RYAN: Is there a wide variety of
24 materials that will come under this state by state?

25 MS. CHANG: Not the materials but you have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a different level of regulatory authority within the
2 non-agreement states. Some agreement states have very
3 good programs that almost look like the NRC
4 regulations.

5 And then you also have some mediocre type
6 that use registration process but they really don't
7 touch a lot on the specifics. And then we also have
8 a few states that have no program whatsoever.

9 MR. MOORE: Well, there is some variety in
10 the types of materials. For instance, for the radium,
11 there is -- I mean just radium -- just discreet
12 sources of radium 226, there's radium needles, there
13 are radium dials. There is --

14 MS. CHANG: Antiquities.

15 MR. MOORE: -- antiquities that are out
16 there that people still have.

17 CHAIRMAN RYAN: That's a big category.

18 MS. CHANG: Big category, very low
19 concentrations.

20 CHAIRMAN RYAN: Yes.

21 MR. MOORE: Other radium sources.

22 MS. CHANG: Lining rods. You have a
23 variety of stuff with different concentrations.

24 CHAIRMAN RYAN: Vasoline glass.

25 MS. CHANG: What?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: Vasoline glass -- the
2 green glass.

3 MS. CHANG: Oh, right, right.

4 MR. MOORE: For PET materials, there are
5 all different kinds of positron emission tomography.
6 And then there is other type of NARM-produced
7 materials that are intentionally produced. And then
8 there is the activated products and the accelerators
9 themselves.

10 So there's a fair amount of different
11 types of materials. But from a licensing health
12 physics standpoint, for the NARM materials a lot of
13 them have short half-lives. So, you know, we would
14 only be concerned about the longer half-life ones.

15 CHAIRMAN RYAN: Well, some of those PET
16 scanners are interesting, particularly the ones that
17 produce radionuclides, some of the short-lived ones.

18 MR. MOORE: Right.

19 CHAIRMAN RYAN: You know we don't detect
20 it so it's not a problem. That doesn't answer the
21 question about dosimetry.

22 MR. MOORE: Right, right.

23 CHAIRMAN RYAN: So it is interesting to --
24 I mean there will be some challenges, I think, as
25 people think more and more about those.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MOORE: There will be some huge health
2 physics challenges. The doses from some of them are
3 very, very high. Yes.

4 CHAIRMAN RYAN: Not just to the patient
5 but to the --

6 MS. CHANG: But to the workers, especially
7 for the extremities when they do extraction.

8 CHAIRMAN RYAN: Sure.

9 MR. MOORE: An interesting issue under the
10 rule itself is that the rule only gives us authority
11 over the materials produced in the accelerators not
12 over the accelerators themselves. So it is a fine
13 point in the statute but it doesn't give us authority,
14 say like we have in nuclear reactors over the whole
15 reactor. It only gives us authority over the
16 accelerator-produced material.

17 So -- and we have discussed this at length
18 with the agreement states. We have a public meeting
19 in November. But we won't be licensing the operation
20 of accelerators. The states will continue to do that.

21 We will only be licensing the --

22 MS. CHANG: Material.

23 MR. MOORE: -- the material and the use of
24 the material.

25 MS. CHANG: The use of the material.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MOORE: Right.

2 CHAIRMAN RYAN: Boy, that's a coordination
3 challenge.

4 MR. MOORE: Yes, it is. It is. And so a
5 lot of Lydia and the team's effort has been on
6 interacting with the states. A huge amount.

7 MS. CHANG: Yes. I guess with an
8 agreement state, it is really going to be seamless
9 because they are already regulating it. And for non-
10 agreement states, hopefully it is not a huge issue
11 since they don't have all our programs.

12 So -- but it is going to be a coordination
13 challenge.

14 Within the transition plan, the NRC does
15 plan to include a waiver of termination process and
16 the criteria we are planning to use in determining how
17 to terminate the waivers.

18 The current status and schedule, as I
19 indicated earlier, early January we did send a draft
20 proposed rule to the states and also to the ACMUI for
21 review and comment. Last month, EDO signed a SECY
22 paper and forwarded it to the Commission for a
23 decision.

24 We also have posted the draft proposed
25 rule on the website early this month. And, of course,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the biggest challenge is trying to meet the statute
2 deadline of issuing the final rule on February 7th,
3 2007.

4 The next step, we are still waiting for
5 Commission decision. Once we have the SRM, we will
6 revise the proposed rule accordingly. And then
7 publish in the Federal Register for a 45-day comment
8 period. And we are planning to have a public meeting
9 during that public comment period.

10 That's all I have. Any more questions?

11 CHAIRMAN RYAN: Oh, that was great, Lydia.
12 We appreciate the exchange as we go along. It helped.

13 MS. CHANG: Thank you.

14 CHAIRMAN RYAN: Let's go ahead and go
15 through. Ruth, do you have any questions?

16 MEMBER WEINER: It's very, very good.

17 VICE CHAIRMAN CROFF: One curiosity. In
18 your slide, I guess it is eight, provide grandfather
19 provisions. As I read this, it doesn't start before
20 -- but only includes material procured after the
21 policy act itself. So what has to be grandfathered?

22 MS. CHANG: No actually the regulatory
23 authority goes before that. It is before, on, and
24 after August 8th. And what we are trying to say is
25 that a lot of the agreement states already have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 problems in existence. For instance, they might have
2 a specific license to allow manufacturers to
3 distribute general license materials or exam
4 distribution products. And we want to recognize that.

5 And we also want to grandfather
6 individuals such as authorized users who has been
7 working in the medical field for accelerated-produced
8 material, learn to recognize them, so that they con
9 continue to operate as authorized user for those
10 materials.

11 VICE CHAIRMAN CROFF: Okay. Thanks.

12 MR. MOORE: The statute actually covers
13 material produced on, before, or after the date of the
14 act.

15 VICE CHAIRMAN CROFF: Okay.

16 MS. CHANG: Sort of like retroactive.

17 CHAIRMAN RYAN: I mean one example I can
18 just -- there used to be in Barnwell at a company that
19 made optical glass that had thorium dioxide in it as
20 an additive for strength. And optical properties.

21 So they distributed, you know, all this
22 optical glass hither and yon under a general license.
23 And, you know, when it left the manufacturer, it was
24 in essence glass. And that was the end of it. It is
25 those kinds of things I think you are talking about in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that category.

2 MS. CHANG: Right.

3 CHAIRMAN RYAN: Yes. Well, so it is a
4 real simple story. And all the challenges are easy.

5 (Laughter.)

6 MS. CHANG: We wish.

7 MEMBER HINZE: Does this also include my
8 activated golf balls that go much further? I mean --

9 CHAIRMAN RYAN: They are irradiated, they
10 are probably not activated. Were they activated?

11 MR. MOORE: Were they activated in a
12 reactor or in a cultivator?

13 (Laughter.)

14 MEMBER HINZE: The committee visited White
15 Shell one time and we were all provided with --

16 CHAIRMAN RYAN: Jim?

17 MEMBER CLARKE: Just to clarify one
18 question. One example came up, the water treatment
19 byproducts, resins, or whatever. The answer is they
20 are being used for radiological purposes so they are
21 not covered under this rulemaking. That is kind of an
22 implicit, you know, answer.

23 Are you contemplating any exemptions or
24 any clarifying guidance that would bring that to the
25 attention of people?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. CHANG: The supplementary information
2 actually describes that, you know, what is includes
3 and what is not. So I don't think we need any more
4 clarifications

5 MR. MOORE: And then separately with
6 respect to the water treatment facilities in the areas
7 of drinking water, the Commission has a paper that
8 they are considering now. And one think that we would
9 consider, depending on where the Commission goes on
10 the NARM drinking water issue is communication
11 directly with the water treatment facilities about
12 whatever direction the Commission decides to take on
13 that.

14 CHAIRMAN RYAN: And that was the subject
15 of Scott's last presentation.

16 MR. MOORE: Yes.

17 MS. CHANG: That is really specific to
18 source material. I mean NRC always has authority over
19 source material.

20 MEMBER CLARKE: Could I just have one
21 other quick one here?

22 CHAIRMAN RYAN: Yes?

23 MEMBER CLARKE: Final rulemaking is -- the
24 deadline is February 2007. The rule becomes effective
25 -- was that the --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. CHANG: Sixty days after the February.

2 MEMBER CLARKE: -- 2009 that the plant

3 blew up? Or when --

4 CHAIRMAN RYAN: April -- this was tax day.

5 (Laughter.)

6 MEMBER CLARKE: Is there a period before
7 which the rule goes into effect after the final rule
8 is issued?

9 MR. MOORE: It is a complicated role
10 actually. It is effective 60 days after the --

11 MS. CHANG: The publication.

12 MR. MOORE: -- the publication. And right
13 now, there are waivers out for everybody -- actually
14 for everybody until August 2009. What we would do is
15 -- what the staff has proposed to the Commission is
16 rescind the w=respect to federal facilities and Indian
17 tribes immediately upon the effective date of the act.

18 And the reason for that is those
19 facilities, federal facilities in Indiana tribes are
20 self-regulating. They don't have any other body, for
21 instance, a state regulator to oversee them. So they
22 would then have that six month and one-year period to
23 kick in. They would be allowed to continue using the
24 material but have six months to apply for an
25 amendment if they already have an NRC license or a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 year to apply for a new license.

2 And then for everybody else in a non-
3 agreement state -- excuse me -- the facilities in
4 agreement states on the date of publication of the
5 transition plan, the agreement states by insurance of
6 the statute, there is a provision in the statute that
7 the governors of those states in the agreement states,
8 can certify that they have an adequate program. And
9 then NRC can review and accept their certification of
10 adequacy.

11 So if the governor certify on the date of
12 publication of the transition plan, that they have an
13 adequate program. Then the agreement states then
14 become regulating for their states. So the waivers
15 rescind for the agreement states leaving only the non-
16 agreement states left to cover.

17 And what we would plan to do is then in
18 the intervening period between the effective date of
19 the rule and the termination date of the waivers in
20 phases phase out the waivers, starting with --

21 CHAIRMAN RYAN: Do I understand when the
22 DOE and Indian tribes part, that they would get a
23 license from --

24 MR. MOORE: Not DOE. Federal facilities
25 and Indian tribes. Federal facilities being primarily

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DoD, VA, you know, EPA. Not DOE. DOE is separated
2 under the Atomic Energy Act.

3 CHAIRMAN RYAN: Okay. And Indian tribes
4 would be like DoD and FDA and those?

5 MR. MOORE: Yes.

6 CHAIRMAN RYAN: Okay, great. Thank you.
7 I just wanted to clarify that.

8 MEMBER CLARKE: Thank you.

9 MR. MOORE: Sure.

10 CHAIRMAN RYAN: Anybody else?

11 MR. WIDMAYER: I have one question.

12 CHAIRMAN RYAN: Yes, sir.

13 MR. WIDMAYER: Could you give us a little
14 background on the compatibility issue controversy with
15 the agreement states and what your feelings are about
16 what kind of impact that might have on your final
17 rule?

18 MR. MOORE: Yes but first I'd like to
19 point out that you are guilty by association since
20 Derek used to be part of the working group on which
21 this rule was written.

22 CHAIRMAN RYAN: Well, the good news is now
23 he is going to help us document useful solutions.

24 (Laughter.)

25 MR. WIDMAYER: The other thing is I have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 three pages of questions and I'm only going to ask you
2 one. So I am off the hook.

3 MR. MOORE: Okay. Lydia, why don't you --

4 MS. CHANG: Oh. Why don't you go ahead?

5 MR. MOORE: Yes, I'll just briefly
6 summarize. With respect to the compatibility issue,
7 with agreement states, the -- and you can see this in
8 the rulemaking package that was provided to the
9 Commission, the agreement states believe that the rule
10 should be compatibility level D. And compatibility
11 level D -- I want to be careful how I quote this --
12 compatibility level D would allow the states to
13 implement their own programs and we would not review
14 those programs under MPAP and the agreement states
15 would not necessarily be required to make any changes
16 to their programs.

17 They would just decide if they have an
18 adequate -- or, excuse me, if they have compatible
19 programs themselves and if they need to make any
20 changes, it would be up to the states to decide
21 whether they wanted to make any changes.

22 CHAIRMAN RYAN: That's the staff's view or
23 their view?

24 MR. MOORE: That is the agreement states'
25 view. The reason they believe this is attached to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 paper they put forward argument and they really should
2 speak for themselves but I guess I would paraphrase it
3 as they believe that NRC's rule should be compatible
4 with their rules because the statute said that the
5 rule that we put forward should comply with the
6 suggested state regs to the extent possible.

7 They believe that they have far more
8 experience in this area than the NRC does because they
9 have been doing it for years and years. And any other
10 definitions of compatibility may require them to
11 change their statutes which is a difficult thing for
12 the agreement states.

13 NRC went through its compatibility
14 categorization process, as defined in Management
15 Directive I think 3.9 --

16 MS. CHANG: 8.9.

17 MR. MOORE: Pardon me?

18 MS. CHANG: 8.9.

19 MR. MOORE: 8.9 -- and came up with a
20 compatibility categorization -- actually it is not
21 compatibility categorization -- a categorization of
22 H&S. If you go through all the compatibility
23 categories and you get down to DE, you have to ask
24 yourself another question. Is it needed for Health
25 and Safety?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And if the answer to that is yes, then you
2 come up with another identification level, an H&S
3 identification level. And so it becomes identified as
4 an H&S. And if you have an H&S, then the states would
5 be required to review their programs to see if they
6 need to make changes to their programs for adequacy
7 purposes. And it would require an action on the
8 state's part to review their programs.

9 So the states object to any designation
10 other than a category D. And the NRC staff believes
11 that and H&S is the appropriate designation. And I
12 think I will leave it there. And then, you know, you
13 all can read the Commission paper.

14 We were very careful how we worded it in
15 the Commission paper. I don't want to speak for the
16 agreement states. We let their words speak for
17 themselves in the Commission paper. And I think they
18 would be offended if I spoke for them. So I'm being
19 careful.

20 CHAIRMAN RYAN: And that's good. I mean
21 I'm glad you are sensitive to their words and we
22 appreciate hearing you quote them in essence. So
23 that's good to hear.

24 MR. MOORE: I will say they are invited to
25 the May 15th meeting with the Commission. And I'm

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sure they are going to speak for themselves at that
2 meeting.

3 CHAIRMAN RYAN: That's great.

4 You know when I think about it, I try and
5 think of what is the risk-informed approach. You know
6 on the one hand, if it is D, it sounds like they don't
7 have to do anything and nothing changes. So why are
8 we going through this exercise if that is the case.
9 That's just my two-second summary of what a D really
10 is. I'm thinking out loud. Maybe I'm wrong but I
11 don't know.

12 But if there is going to be a true
13 integration of these materials that you have been
14 asked to regulate under the Energy Act, then maybe it
15 is an evolution over some period of time. It is an
16 awful short schedule to get it done. And I recognize
17 that is not your choice but something you are working
18 toward because it is the requirement of the law.

19 It leads me to the question have you left
20 in the regulation -- are there enough points of
21 flexibility or placeholders or other things that can
22 evolve over time simply and easily?

23 MR. MOORE: We think so. We think that
24 there is a framework built into the regulations. But
25 right now we don't even have implementing guidance

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that is there for it. And so right now it is really
2 just a framework.

3 And so I believe that it is very flexible
4 at this point. If anything, it could probably be
5 challenged on is there enough proscription out there
6 to know how --

7 CHAIRMAN RYAN: Well, I mean it is a broad
8 spectrum.--

9 MR. MOORE: Right.

10 CHAIRMAN RYAN: -- of new things. So
11 flexibility and having the ability to interpret and
12 evolve over time through guidance is not a bad plan.

13 MR. MOORE: Right.

14 CHAIRMAN RYAN: And if it is that
15 flexible, and it has that built in, I mean I think
16 that's reasonable. I mean, you know, we've -- and I
17 think, you know, I've certainly made the point that --
18 on the low-level waste regulation that, you know,
19 license conditions, permit conditions, and regulatory
20 guidance can cover an awful lot of the landscape by
21 being flexible and adapting to individual states or
22 individual waste streams or material streams or
23 whatever it might be.

24 MR. MOORE: Right.

25 CHAIRMAN RYAN: You can certainly do a lot

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in that area. And if that is built in, then maybe
2 some of that anxiety will diminish with time.

3 MR. MOORE: I guess I'll let you all know
4 what we said in the Commission paper. The staff's
5 position on H&S is that a designation of H&S for the
6 definition of byproduct material requires the staff to
7 continue to assure that the essential objectives for
8 11(e)(3) and 11(e)(4) byproduct material -- and that
9 is the NARM material and also the NORM -- the radium
10 -- discreet sources --

11 CHAIRMAN RYAN: Discreet radium.

12 MR. MOORE: -- discreet sources of NORM,
13 if there ever will be any, are met. The essential
14 objectives are met. And that assurances obtained by
15 review of the complete set of regs that a state
16 requests in an agreement and the review of newly
17 adopted or amended agreement state regs and the review
18 of the status of an agreement state regs is part of
19 the IMPAT program.

20 And the staff notes that under a
21 designation of D for such assurance would not be
22 obtained since the program elements designated as D
23 are not a required part of the agreement program.
24 They could be dropped from or not included in the
25 agreement state program. And the program could still

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be found to be adequate and compatible. And,
2 therefore, not reviewed by NRC staff.

3 So the staff's position is that it needs
4 to be an H&S. But that is only the staff's position.
5 And the agreement states don't agree with that at all.

6 CHAIRMAN RYAN: Do you go into further
7 detail what the basis in public health and safety is?
8 Or worker health and safety? And why that is the
9 case?

10 MR. MOORE: We do in an attachment to the
11 paper.

12 CHAIRMAN RYAN: I think, you know, to me
13 that's where the rubber meets the road is that if you
14 have made the health and safety case of why you think
15 the review is important and needs to be done -- now
16 you may end up with yes we're adequate or no, we need
17 to tweak. Or we're actually overkill. We could be,
18 you know, anywhere along that range.

19 But you are saying that it is H&S in order
20 to force the review or have the review be part of the
21 program rather than to change anything specifically
22 that somebody is doing, you are just saying that you
23 need to review it --

24 MR. MOORE: Right.

25 CHAIRMAN RYAN: -- with this in mind --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MOORE: Right.

2 MS. CHANG: Right.

3 CHAIRMAN RYAN: -- to get there. And now
4 that is H&S. C, of course, and B and A are, you know,
5 go up the line.

6 MR. MOORE: Are at a much higher level.

7 CHAIRMAN RYAN: A much higher level of
8 thou shalt.

9 MR. MOORE: Right.

10 CHAIRMAN RYAN: As opposed to you may
11 think about --

12 MR. MOORE: Right.

13 CHAIRMAN RYAN: -- and, you know, things
14 of that sort. So -- interesting. So that is in an
15 appendix that discussion?

16 MR. MOORE: Yes.

17 CHAIRMAN RYAN: Yes, okay. Great.

18 MR. MOORE: An attachment to the
19 Commission paper.

20 CHAIRMAN RYAN: Well, we've got -- Latif,
21 hi.

22 MR. HAMDAN: Can I ask a question?

23 CHAIRMAN RYAN: Please. Step on up. Have
24 a seat.

25 MR. HAMDAN: Latif Hamdan, NRC staff.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Just clarifying questions. The regulations for
2 11(e)(2) and (3) are in Appendix E. So this rulemaking
3 you are doing is separated from Appendix E?

4 MR. MOORE: Apart from it, yes.

5 MR. HAMDAN: So the second question is in
6 the discussions here achieved for the rulemaking
7 branch, what are you going to do about Appendix E? If
8 everything has changed and so on, then eventually you
9 will have to change Appendix E, right?

10 MR. MOORE: Actually, no, we don't believe
11 so. And Lydia or Derek may be able to answer this
12 better than I. But we believe that the waste impacts
13 from this Energy Policy Act rule are very, very minor.
14 So no. We had the division of waste management.

15 MR. HAMDAN: That is surprising because
16 especially since they are making a new rule on their
17 ISL, which was agreed on their Appendix A and now
18 there is this definition of 11(e)(2) has changed, and,
19 you know, Appendix A is tacked on to Part 40 so you
20 would think one thing you want to do is --

21 MR. MOORE: 11(e)(2) isn't changing in
22 Part 40. What we are doing is adding on on 11(e)(3)
23 and 11(e)(4). So we are not changing 11(e)(2). We're
24 adding on at 11(e)(3) and 11(e)(4).

25 CHAIRMAN RYAN: Latif, it sounds to me --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I appreciate your question -- but it sounds to me like
2 that some care has been taken to try and not mess up
3 the many --

4 MR. WIDMAYER: Yes, that's correct. In
5 fact, the Commission had a large hand in developing
6 the language that went into the Energy Policy Act to
7 make sure that it was adding to the definition and not
8 changing the existing definitions.

9 CHAIRMAN RYAN: Because we all know there
10 are lots and lots of fingers out from 11(e)(2) to the
11 rest of the Rosetta Stone we have created.

12 MS. CHANG: That's right. Part 40 is not
13 changed.

14 MR. HAMDAN: But if nothing else, if the
15 definition of 11(e)(2) has changed --

16 MR. MOORE: It didn't.

17 MR. HAMDAN: At least there it needs --

18 CHAIRMAN RYAN: Well, they are saying it
19 hasn't - 11(e)(2) has not changed.

20 MR. HAMDAN: Yes.

21 MR. MOORE: No, it is adding 11(e)(3) and
22 11(e)(4).

23 MR. HAMDAN: Okay. Thank you.

24 CHAIRMAN RYAN: Those are different.

25 MR. HAMDAN: Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: He doesn't believe us but
2 that is okay. That is interesting.

3 MR. MOORE: We changed the definition of
4 byproduct material to include this new 11(e)(3) and
5 11(e)(4).

6 MS. CHANG: Part 20 and Part 30 but
7 nothing in Part 40. We did not change the definition
8 in Part 40.

9 CHAIRMAN RYAN: Let's see. So now we have
10 two definitions of byproduct material?

11 MR. MOORE: We do. And we talked about
12 that for weeks.

13 MS. CHANG: Actually there are three
14 definitions of byproduct material.

15 MR. HAMDAN: That is exactly my point.

16 CHAIRMAN RYAN: Well, you know, you didn't
17 say that. Now what we understand what you were trying
18 to say.

19 MS. CHANG: We have three definitions of
20 byproduct material. And Part 20 is the one that is
21 all inclusive. It includes 11(e)(1), (2), (3), and
22 (4).

23 CHAIRMAN RYAN: Right, because that is --

24 MS. CHANG: In Part 30, it --

25 CHAIRMAN RYAN: -- the health and safety.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. CHANG: -- right, in Part 30 it is
2 only related byproduct material. Therefore we only
3 include the definition of 11(e)(1), (3), and (4).

4 CHAIRMAN RYAN: Right.

5 MS. CHANG: And Part 40, since that is
6 related source material, the byproduct material
7 definition only include 11(e)(2) so we actually have
8 three different definitions.

9 MR. WIDMAYER: The staff was challenged
10 with a notion as to whether they had to fix everything
11 that was broken in all of 10 CFR in order to
12 accommodate this change. And a decision was made
13 early because of the schedule they can't do it. So it
14 adds to the definition.

15 CHAIRMAN RYAN: Is all this clearly laid
16 out in the package -- the Commission package? Because
17 I'm thinking ahead.

18 MR. MOORE: I think so.

19 CHAIRMAN RYAN: You know we are sitting
20 around here and we're, you know, somewhat smart folks
21 and we're trying to struggle through all this. Of
22 course you are experts on it. You have developed it.
23 But it will be interesting to deal with these
24 questions as it rolls out. And I'm sure that will be
25 part of your key challenges, you know, going forth

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 once it is a rule. And helping agreement states
2 implement it. And training and education and details
3 will be really important. Interesting.

4 Where are we? How are we doing on time?

5 MR. WIDMAYER: We are way late.

6 CHAIRMAN RYAN: Any other questions?

7 Well again folks, thank you for a very
8 informative presentation. We promise we will do our
9 homework and come back with some version of substance
10 for you, either yay, nay, or in the middle. We will
11 talk to you next month. How does that sound? Maybe,
12 Derek, we could take a placeholder of a half hour or
13 so where if we do have feedback, we can work with you
14 on trying to present that to you in a timely way.

15 MR. WIDMAYER: Okay. Thank you.

16 CHAIRMAN RYAN: Thank you both very much.
17 We really appreciate it. Good job.

18 Okay. I think that is the end of our
19 formal presentations today. We're going to consider
20 letter writing. So at this point, Neal, we don't need
21 the recorder any more I don't think. So we'll end the
22 transcript at this point and just take up our
23 discussion of letter writing.

24 (Whereupon, the above-entitled meeting was
25 concluded at 5:36 p.m.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701