

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Nuclear Waste
175th Meeting

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Wednesday, December 13, 2006

Work Order No.: NRC-1377

Pages 1-185

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON NUCLEAR WASTE (ACNW)

175th MEETING

+ + + + +

WEDNESDAY,

DECEMBER 13, 2006

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Advisory Committee met at the Nuclear
Regulatory Commission, Two White Flint North,
Room T-2B3, 11545 Rockville Pike, Rockville, Maryland,
at 8:30 a.m., Michael T. Ryan, Chairman, presiding.

MEMBERS PRESENT:

- MICHAEL T. RYAN Chairman
- ALLEN G. CROFF Vice Chairman
- JAMES H. CLARKE Member
- WILLIAM J. HINZE Member
- RUTH F. WEINER Member

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NRC STAFF PRESENT:

JOHN T. LARKINS, Executive Director, ACRS/ACNW

LATIF HAMDAN

NEIL COLEMAN

ANTONIO DIAS

MICHAEL LEE

DEREK WIDMAYER

FRANK GILLESPIE

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I-N-D-E-X

<u>AGENDA ITEM</u>	<u>PAGE</u>
Opening Remarks by the ACNW Chairman	4
Proposed Revision to Standard Review	5
Plan Chapter 11.2, "Liquid Waste Management System"	
Public Comments on NRC 2006 Low-Level	52
Radioactive Waste Strategic Planning Initiative	
Conceptual Licensing Process for Global	103
Nuclear Energy Partnership Facilities	
Closure of Generic Safety Issue 196:	160
Boral Degradation	
Adjourn	

P-R-O-C-E-E-D-I-N-G-S

(8:30 a.m.)

CHAIRMAN RYAN: Good morning. The meeting will come to order.

This is the second day of the 175th meeting of the Advisory Committee on Nuclear Waste.

During today's meeting, the Committee will consider the following: the proposed revision to Standard Review Plan Chapter 11.2, "Liquid Waste Management System"; we'll hear about public comments to NRC staff on the NRC staff's low-level radioactive waste strategic planning initiative; we'll discuss conceptual licensing process for the Global Nuclear Energy Partnership Facilities; and we will hear the closure of Generic Safety Issue 196 on Boral Degradation; and discuss Committee letters and reports.

This meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act. Derek Widmayer is the Designated Federal Official for today's initial session.

We have received no written comments or requests for time to make oral statements from members of the public regarding today's sessions. Should anyone wish to address the Committee, please make your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 wishes known to one of the Committee staff.

2 It is requested that speakers use one of
3 the microphones, identify themselves, and speak with
4 sufficient clarity and volume, so they can be readily
5 heard. It is also requested that if you have cell
6 phones or pagers that you kindly turn them off.

7 Thank you very much.

8 And without further ado, we'll begin our
9 opening session on the topic of proposed revisions to
10 the Standard Review Plan Chapter 11.2, "Liquid Waste
11 Management System." And I believe, Jean-Claude,
12 you're our speaker this morning. Welcome. Jean-
13 Claude Dehmel is here with us from NRR/NRO.

14 MR. DEHMEL: Yes, I'm in transit. I'm in
15 transit. I'm a transient worker between NRR and NRO.

16 We're going to go over the proposed
17 revision to Chapter 11.2 addressing liquid waste
18 management system. Let me start -- this is kind of a
19 quick overview of what I will be covering, the purpose
20 and scope of Chapter 11.2. There's a lot of
21 information there. I'm going to essentially not go
22 over every item. I'm just going to gloss over it,
23 because essentially it's -- all this information is
24 well covered in the SRP.

25 I'm going to talk a little bit about the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 approach in reviewing the chapter, the type -- and
2 describe some of the type and the extent of the
3 revisions, and obviously focus on some of the
4 important revisions and address some of the changes in
5 the primary and secondary area of responsibility from
6 the 1996 version. And then, we'll go to the
7 conclusions.

8 So with that, so essentially the focus is
9 obviously on liquid waste generation and treatment.
10 So there are four major sources of liquid waste --
11 equipment drains, flow drains, chemical drains, and
12 detergent drains. Just for your information, sludge
13 isn't a liquid slated for solidification or
14 stabilization. It's dealt with in Chapter 11.4 of the
15 SRP. It's not addressed here. It's addressed with
16 the chapter dealing with radioactive waste management.

17 And the operation of the liquid waste
18 management system relies on a combination of a two-
19 type system -- permanently installed system -- that
20 is, those systems that are designed as part of the
21 plan.

22 Those are the components you would see,
23 for example, described in the DCD application package,
24 and are more and more now complemented with mobile
25 systems, skid-mounted systems, that essentially are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 procured, rented, leased, and brought on the side,
2 into the building, connected to a permanently
3 installed system, and operated for -- to support, for
4 example, an outage which may be a few weeks,
5 decontaminated, disconnected, and shipped back to the
6 vendor or the contractor.

7 Some major components include, you know,
8 for obvious reasons tanks, pumps, and so on. And so
9 that's, again, somewhat described in the SRP.
10 Obviously, the nature, the number of tanks, number of
11 components, and so on, it's all related to the chosen
12 design as it is proposed by the applicant or, you
13 know, described in the DCD package.

14 The typical treatment method most often
15 cited are filtration, reverse osmosis, ion change,
16 charcoal absorption. But keep in mind that once the
17 system is supplemented with a mobile system, more
18 exotic liquid waste processing methods could be
19 applied -- for example, ultra filtration and perhaps
20 we see more and more now is radionuclide-specific ion
21 exchange resins.

22 And the rest is self-explanatory
23 regarding, you know, obviously the design as to be
24 able to handle the expected volumes, as to provide
25 sufficient storage capacities, anticipated flow rates,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and so on, and obviously the issue associated with the
2 instrumentation addressing radiation monitoring,
3 controlling the process and effluent releases, and
4 obviously instrumentation or methods to determine the
5 effectiveness of the overall system.

6 And the system operation addresses,
7 obviously, safety of radioactive releases. And,
8 again, this aspect is dealt with in greater detail in
9 Chapter 11.5 of the SRP, which addresses the offsite
10 dose calculation manual 11.4, which addresses the
11 process control program. And 11.5, again, addresses
12 the -- what used to be called the RETS, which is now
13 the standard radiological effluent controls.

14 Radiological characterization -- so
15 obviously there's a discussion as to, you know, what
16 are expected -- not only the volumes of waste, the
17 types of waste on these four different categories I
18 mentioned earlier, but what is the characterization?
19 So there are essentially two components to the
20 characterization. One is, what is expected
21 radionuclide concentration in the primary coolant, the
22 primary steam?

23 And then, from that information, I'm not
24 sure if that volume of liquid, for example, is
25 processed and ultimately treated for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 disposal/discharge. So, then, the source term
2 essentially consists of two components. One is, you
3 know, the concentration in the coolant and the
4 concentration in the outflow?

5 But the concentration effluent essentially
6 is modulated by the type of treatment system that is
7 used -- filtration, reverse osmosis, ion exchange, and
8 so on. So all of these types of treatment methods
9 have their own respective decontamination factors or
10 removal efficiencies, depending on the nature of the
11 waste and the type of treatment processes that are
12 used.

13 So the elements that I've identified with
14 respect to obviously the effectiveness of the
15 treatment method, taking into account the physical,
16 chemical, and radiological properties of the liquid
17 waste treatment system, capacity, and storage. And
18 plus, in flow rates, the treatment system
19 effectiveness, decontamination, or removal
20 efficiencies.

21 And, obviously, the endpoint, what is that
22 -- where is that material going? If it's going to be
23 recycled, it's going to be -- it will be used, then
24 you have to look at a treatment process differently
25 than if you were going to process that and treat it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for ultimate disposal or a simple discharge. And,
2 obviously, this is addressed not only in NRC
3 requirements but also the requirements of the NPDS
4 permit and as well as EPA and/or state regulations,
5 even local regulations, on what you cannot discharge.

6 And this whole characterization effort
7 essentially relies right now on some -- what some of
8 you might say are outdated, but these are the only
9 tools that the staff has -- the BWR and PWR, GALE
10 code, and other method essentially using a modified
11 ANSI 18.1 standard to essentially derive both the
12 concentration of radionuclides in the coolant as well
13 as estimating the amount of radioactivity that could
14 be discharged in the environment or sent for disposal.

15 Some of the key acceptance criteria in the
16 SRP are essentially -- this is virtually unchanged
17 since the last one, except for the last two. The
18 focus -- we've put a greater emphasis now on 10 CFR
19 Part 20.1406 on the minimization of contamination and
20 the programmatic elements of Part 52.47 and 52.97,
21 ITAAC as they relate to the DCD and COL application
22 packages to review, and so on. So those are
23 essentially additional -- are inserted for
24 programmatic reasons.

25 The key items regarding this -- again,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it's pretty what it used to be before, except now we
2 have a new reg. guide, Reg. Guide 1.206, which is
3 DG-1145, which essentially supplements or replaces
4 Reg. Guide 1.70. As far as all the other guidance, it
5 has been around for a long time, so this is nothing
6 new there.

7 So the structure of Chapter 11.2 is
8 essentially unchanged. You know, if you compare the
9 1996 version with the proposed 2006 version, you know,
10 there are some minor changes in the substructure below
11 those, but those are essentially non-substantial.

12 Here are some of the major changes that
13 were inserted regarding, for example, in this case
14 Part 20.1406, minimization of contamination. So it
15 relies on different sources of information. Some of
16 it is very current -- for example, the liquid release
17 lessons learned and our task force report on tritium
18 leaks. And later on, I'll give a specific ADAMS
19 accession number, so you can go to it.

20 So there's a big emphasis on that,
21 NUREG/CR-3587 on the evaluation of D&D techniques in
22 the context of some of the elements of Part 20.1406.
23 We did not have before -- I went and looked at some IE
24 Bulletins, some Circulars, to provide some examples to
25 the staff, some issues that have surfaced in the past,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and how -- what kind of recommendation the agency has
2 issued to licensees, then, as illustrative examples.

3 They are not meant to be all-
4 comprehensive. They essentially are enough to
5 illustrate some issues. And they obviously don't
6 capture all of the, you know, upsets or issues that
7 were identified over the past 50 years or so of
8 operational history.

9 And, finally, the above items are long-
10 guidance, to be supplemented by a rulemaking in
11 addressing the revision of Part 20.1406 and the
12 issuance of a new reg. guide addressing just that. So
13 these are essentially -- you can look at these as
14 placeholders for now, you know.

15 And so Research is addressing -- as you
16 know, Research is addressing the development of a reg.
17 guide. I believe there's a contractor -- and I've
18 attended a couple of meetings -- that are essentially
19 scouring the IE notices, and so on, the reg. guides,
20 to identify and screen out information that could be
21 brought forward into this new regulatory guide. So we
22 have to see as to what this new reg. guide will say
23 and propose.

24 Where there's a bit of emphasis now that
25 wasn't there before is a focus on mobile liquid waste

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 processing equipment. There is an increasing trend to
2 essentially say that, you know, we -- the plant is
3 described as having, for example, this permanently
4 installed system, and it impacts all of the major
5 components that you have to put right now in a cubicle
6 before you pour concrete over it.

7 So all the piping is there, the valves are
8 there, and so on, but with respect to how the
9 material, the liquid waste will be treated and
10 processed, that's described essentially as black
11 boxes. It simply says it's to be provided by the COL
12 applicant, and there is a very simple description or
13 schematic representation of what this is -- these
14 black boxes may contain. There are several of them.

15 For example, one is to process and deal
16 with spent resins. Another one to address reverse
17 osmosis, another one for ultra filtration or charcoal
18 absorption, and so on. So there's not a lot of
19 detail.

20 So the focus is essentially on flagging,
21 to obviously the applicant as well as the staff, that
22 these are things that may have to be scrutinized,
23 probably because essentially there is very little
24 information or no information provided, no substantial
25 information provided in the DCD or COL application.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So this is something that will have to be looked at.

2 There is also an interesting aspect if you
3 look at Reg. Guide 1.143 addressing what is the
4 definition of the radioactive waste processing system.
5 This is a liquid waste management system. So the idea
6 of the interface or where the input is to the system,
7 as it is defined as a liquid waste management system,
8 into the DCD or the COL application, and where is the
9 release point.

10 So essentially those two extremes
11 represent the liquid waste management system. So now
12 we have this extension, which is a mobile system. So
13 we have to make sure that the staff and the applicant
14 understands that when we are going to look at a system
15 essentially it's the entity of starting from the point
16 of connection to where -- for example, the primary
17 coolant, where this is the input to the liquid waste
18 management system.

19 CHAIRMAN RYAN: Just a quick question, if
20 I may, on this exact point. How do 50.59 reviews fit
21 into the mobile equipment and the plants dealing with
22 all of it? Because that's how they handle it now.

23 MR. DEHMEL: Yes.

24 CHAIRMAN RYAN: Or at least in part.

25 MR. DEHMEL: But we would not see that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 You know, we would not see this at this stage now. So
2 if -- in the context of NRO where I receive -- I'm
3 responsible for reviewing 11.2, 50.59 process is --

4 CHAIRMAN RYAN: Somewhere else.

5 MR. DEHMEL: -- is somewhere else.

6 CHAIRMAN RYAN: That's interesting,
7 though, because it really is exactly that --

8 MR. DEHMEL: Yes.

9 CHAIRMAN RYAN: -- mobile system box that
10 you were talking about.

11 MR. DEHMEL: Yes.

12 CHAIRMAN RYAN: Yes.

13 MR. DEHMEL: And obviously we are putting
14 some emphasis in the previous slides about the -- on
15 the emphasis on the Circulars, and so on, and
16 prevention of contamination. You know, we essentially
17 highlight some of the design features that could be
18 used and applied to reduce leakages, spills, and the
19 resulting non-monitoring releases, and so on.

20 Obviously, the focus is also on prevention
21 of contaminating non-radioactive system, because these
22 systems, these mobile systems have interfaces with
23 existing plant systems -- surface water, compressed
24 air, you know, and so on.

25 Then, there is also the issue of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 system interaction for a multi-unit station. So that
2 depends on how the DCD package is described or the COL
3 applicant describes this approach and how a system may
4 service, you know, for example, two operating units.

5 And, again, the definition of a boundary
6 between liquid waste management system and the
7 interface, all the way to the point of storage,
8 recycling, release, or disposal.

9 This requirement on compliance with EPA
10 dose standard, 40 CFR Part 190, was embedded, but we
11 felt that it should be teased out and provide much
12 more greater detail, mainly for the purpose of
13 integrating the information from Chapters 11.3 and .4,
14 and essentially using this information to determine
15 whether compliance with that requirement was met.

16 And that the offsite dose calculation
17 manual would actually then -- that would be captured
18 in Chapter 11.5, would address this aspect.
19 Interestingly enough, the way the SRP is structured,
20 the dose component -- meaning the external radiation
21 component from buildings and from contained sources of
22 radioactivity -- for example, you know, liquid storage
23 tanks, radioactive waste storage buildings,
24 nitrogen-16 from BWR turbine buildings -- that type of
25 analysis is covered in Chapter 12, 12.3 and 12.4.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Yes, 12.3 and 12.4

2 So the idea is to essentially bring all of
3 this information together into -- and capture that in
4 Chapter 11.5 to make sure that the offsite dose
5 calculation manual, in looking at all of the
6 compliance requirements, captures this information
7 from these other sources within the SRP, and that the
8 applicant is aware of this.

9 So the consideration here again, just to
10 make a long story short, is potential internal
11 exposure because 40 CFR 190 addresses all sources of
12 radiation and exposure. So it's inhalation,
13 ingestion, external radiation exposure from onsite
14 contained sources, offsite deposited radioactivity,
15 and does due to the entire site -- all units,
16 buildings, and facilities. And this is for -- as
17 opposed to Appendix I requirements, which is on a per
18 unit basis, the 40 CFR Part 190 requirements are for
19 the entire site.

20 So, again, the difference also with
21 40 CFR 190 versus Appendix I for the maximally-exposed
22 individual is that -- that the dose receptor under
23 40 CFR 190 is supposed to be kind of real member of
24 the public, and the other elements that you, you know,
25 covered. And, again, the focus on that is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 confirmation for compliance is captured in the offsite
2 dose calculation manual and the radiological and
3 environmental monitoring program.

4 Some of the miscellaneous changes and
5 updates -- again, the first two elements are
6 programmatic issues which the Project Office -- and I
7 think there is somebody here from -- Steve Koenick.
8 If there are more questions, he can address those --
9 those elements addressing the ITAAC, the COL DCD
10 applications, and the next one on the clarification on
11 COL action item certification requirements and
12 restrictions. Those were essentially added into this.

13 Update of internal cross-references within
14 Chapter 11.2 and with SRP Chapters 11.3 and 11.5.
15 Again, the main focus there has been to, for example,
16 flag the fact that if you have a liquid waste
17 management system or the gases can form because the
18 tanks, for example, are vented. Well, that would be
19 captured in Chapter 11.3 of the SRP.

20 But the offsite doses with effluent
21 releases would be captured in the ODCM, which is
22 covered in Chapter 11.5, and so on. So you see the
23 cascading effect there.

24 We also reviewed and updated the
25 interfaces with all of the other SRP chapters, because

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 even though I'm talking to you in the context of
2 radiological consideration, there are obviously
3 engineering considerations, emergency planning,
4 instrumentation and control, balance of plant, civil
5 engineering issues, and so on. So we made sure that
6 the interfaces with all of the other SRP chapters, as
7 well as the interdisciplinary support, is flagged and
8 captured.

9 There was a change -- there's a change in
10 the assignment of review responsibilities, because, as
11 you may compare this to the 1996 version, it referred
12 to the old organization by the higher designations.
13 Those no longer exist.

14 So rather than be burdened having to
15 identify an organization in a branch or a division by
16 this acronym, the responsibilities were assigned with
17 respect to the context of what -- you know, health
18 physics, balance of plant, instrumentation and
19 control, emergency planning, you know, and so on,
20 quality assurance, and so on.

21 The other change was that my group, the
22 Health Physics Group, is now as a lead on Chapters
23 11.2, .3, .4, and .5. And this was debated among the
24 branches, and ultimately the decision was made because
25 the focus of the acceptance criteria, all radiological

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in nature, are in compliance with EPA, NRC, and dose
2 calculations. So the thinking was that, well, because
3 of that, there's so much weight on radiological
4 compliance and dose assessment, and so on, therefore,
5 it stands to reason that the Health Physics Group
6 should have the lead.

7 But in that context, the other branches --
8 balance of plant, EP, QA, and so on -- still have a
9 co-lead or a significant role. So in that context,
10 we're not taking the lead in those technical areas.
11 We are essentially acting as PMs. We're taking --
12 initiating the review, be responsible for our areas of
13 review, at the same time making sure that emergency
14 planning, QA, and so on, I&C, are responsible for
15 their review, and they provide their technical input
16 to us. And then, we will assemble all of the
17 comments.

18 Okay. Again, we talked about the
19 citations or the inclusion of citations in
20 Part 20.1406 and Part 52. We also added some
21 additional references and updated the existing ones,
22 and then the rest of it essentially are kind of minor
23 updates, clarifications, corrections, and so on.

24 So, in conclusion, the main structure of
25 11.2 remains the same. We felt it was important to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 provide more detailed guidance to the staff and
2 applicants. For example, now there is greater
3 discussion on the compliance with the EPA requirements
4 -- 40 CFR Part 190, as it is implemented under
5 Part 20.

6 We include requirements addressing
7 20.1406, which provided some interim guidance, as
8 described earlier.

9 The update now incorporates information on
10 -- from recent staff studies, and, again, this is the
11 groundwater contamination lessons learned task force
12 report. And I'll give you the ML number, so you can
13 look at it. The D&D lessons learned report -- and I
14 believe those -- that report was also presented before
15 you sometime in November as to the contents, so I'm
16 not going to go over that.

17 So the next step essentially at this point
18 is to address the public, staff, and stakeholder
19 comments in early 2007, and then finalize the chapter
20 for March publications.

21 Before I conclude, the other thing I want
22 to flag to you is that if I went to make a
23 presentation to you about 11.3, 11.4, 11.5, it would
24 be essentially identical, with some obvious
25 differences.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 For example, in 11.4, there is a much
2 bigger emphasis and discussion about the programmatic
3 element of the process control program for the purpose
4 of treating waste. In 11.5, there is much greater
5 emphasis on the elements addressing the content and
6 format of the offsite dose calculation manual, the
7 radiological environmental monitoring program, and the
8 tech specs or the RETS. And so those are essentially
9 teased out in greater detail with all of the major
10 elements.

11 But essentially, as far as the discussion,
12 this would be almost a carbon copy presentation. So
13 I leave it up to you whether or not you want to see me
14 again three more times.

15 (Laughter.)

16 CHAIRMAN RYAN: Well, you're always
17 welcome. We always enjoy your updates, whether it's
18 a repetitive thing or not, so you're welcome any time.

19 But there are some details, for example,
20 the characterization for -- the detail
21 characterization for waste is pretty interesting. You
22 know, we, as you well know, wrestled in the '80s with
23 overestimates on disposal manifests.

24 MR. DEHMEL: Yes.

25 CHAIRMAN RYAN: It's always okay to say we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 had, you know, an MDA and we were below the MDA, but
2 for the purpose of making sure we didn't have a
3 violation at the disposal site, we reported the MDA.
4 And Jean Vance and Associates, and others, looked at
5 this in some detail and found that tech-99 and I-129
6 were grossly overestimated in what was disposed.

7 And, you know, that got sorted out, but
8 I'm curious if some of those improvements in exact --
9 or a better prediction of what is in the disposed
10 waste are going to be implemented, just as an example
11 of, you know, how are things being updated.

12 MR. DEHMEL: Yes. We are -- if you look
13 at Chapter 11.4 on waste disposal, there is some
14 guidance that the staff has provided on radionuclide
15 concentration averaging, stabilization of certain
16 types of waste, and that guidance has not changed. We
17 have not changed that guidance.

18 And so the process that the applicant --
19 well, in this case, the licensee would use for the
20 purpose of calculating, first, the tritium
21 concentrations and distributions in the waste, and
22 then calculate concentrations and/or total
23 inventories. That aspect has not been updated at all.

24 Basically, that -- one should be careful
25 is that -- the methodology that will be used to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 characterize radioactive waste for low-level waste
2 disposal, in the context of Part 61, and whatever
3 acceptance criteria a disposal site might impose, are
4 different than characterizing radioactive material for
5 liquid effluent discharges.

6 The concentration in waste, essentially
7 that is packaged for disposal, reflects essentially
8 the treatment, the solidification, whatever processes
9 were used. That concentration and distributional
10 relationship between cesium-137, for example, and
11 strontium-90 and iodine-129, tech-99, barium, and
12 strontium, is different than what you would find in
13 liquid effluents, in primary coolant, in the input
14 stream to the liquid waste processing system.

15 Those relationships essentially are not
16 really alike, so you cannot use, for example, those
17 infamous or famous scaling factors that you would use,
18 for example, in -- traditionally used to characterize
19 and prepare waste for disposal under Part 61, and
20 apply that to characterizing the input stream to the
21 liquid waste management system. They don't apply.
22 They really don't apply.

23 The only telltale indicators you have,
24 what is traditionally used for performance indicators
25 for fuel, and those are typically characterized as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 radio-iodines, the noble gases, and a few fission
2 products, cesium-137, strontium-90, barium-140, and so
3 on, and those are the ones that are used to
4 essentially assess the performance of, you know,
5 whether or not those fission products are contained
6 within the pellet and what fraction of that
7 essentially makes it for the cladding. That's a
8 completely different relationship than what you would
9 do for low-level waste characterization for the
10 purpose of disposal.

11 CHAIRMAN RYAN: There's another
12 interesting, I think, dimension to it, and that is
13 that with the very high emphasis on water quality and
14 coolants, that whole picture has also changed from
15 that standpoint --

16 MR. DEHMEL: Yes.

17 CHAIRMAN RYAN: -- because there's a lot
18 more emphasis of having, you know, much lower
19 conductivities and much higher quality water in the
20 coolant. So not only kind of the total picture of
21 radioactive material that's in liquid effluents, or
22 things that they want to take out of the liquid
23 effluents. There is a little shift among fission
24 products, activation products, and, you know, all of
25 the other things we think about in that area.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And I wonder, is the guidance going to
2 reflect any of that, or -- it sounds like not.

3 MR. DEHMEL: No.

4 CHAIRMAN RYAN: I wonder if it should. I
5 mean, I don't know. I'm just asking a question. I'm
6 not saying we're married to that idea. It's something
7 to think about.

8 MR. DEHMEL: No. Because the way the
9 liquid -- what you're addressing essentially is
10 another part of the SRP which addresses, you know,
11 plant chemistry.

12 CHAIRMAN RYAN: Yes.

13 MR. DEHMEL: And so what do you do to, you
14 know, maintain the integrity of the fuel.

15 CHAIRMAN RYAN: Not exactly, though. I
16 mean, that's certainly the feedstock, if you will, for
17 the waste treatment side. But the waste treatment
18 side is still dealing with, okay, well now, you know,
19 how do I characterize the radioactive material content
20 of the thing I'm treating? That's the front end.
21 And, okay, what am I putting out to the low-level
22 waste management people on the back end, whether it's
23 resin, solidified concrete, or there's not much
24 solidified anything anymore.

25 MR. DEHMEL: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: But, you know, and there's
2 really not as much resin as there used to be. It's
3 all going to RO and, you know, other techniques.

4 MR. DEHMEL: Right.

5 CHAIRMAN RYAN: I wonder if that needs
6 some detailed thinking before we just say, "Well,
7 we'll just keep the guidance the same"? Ultimately,
8 we end up with an overestimate of the low-level waste
9 source term. That's a bad thing, particularly if it's
10 I-129, tech-99, ruthenium, or any other ones that if
11 we use -- or folks feel like they can still use
12 traditional scaling factors, you know, which can be
13 off a lot, that could perpetuate a problem.

14 MR. DEHMEL: This aspect is treated in
15 those branch technical positions. It's not addressed
16 in the SRP. In the SRP, we talk about -- for example,
17 with respect to the process control program --

18 CHAIRMAN RYAN: Yes.

19 MR. DEHMEL: -- the process control
20 program simply assumes that, you know, you have some
21 type of material with radiological, physical, and
22 chemical properties. You're the recipient of this
23 material. And then, the question is: what do you do
24 to stabilize this material, such that -- or ship it or
25 prepare it for disposal such that it meets the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 acceptance criteria and Part 61 requirements? So
2 that's as far as it goes.

3 But the detail with respect to what you're
4 addressing are really contained in the branch
5 technical position, and that we would need to ensure
6 that -- look at these documents and look at the
7 specific guidance as to, you know, how the -- what
8 kind of instructions are we giving to the licensees,
9 and perhaps revise the scope of considerations, tease
10 out some of these issues you're identifying right now,
11 and kind of think about it and, you know, put together
12 some chemists and health physicists together and
13 essentially provide elaborate detail, and provide some
14 markers that essentially the licensee would have to
15 follow, and be more careful in not overexaggerating
16 the radionuclide distribution and concentrations.

17 CHAIRMAN RYAN: Well, and again, I mean,
18 it's an overexaggeration. It's done for an admirable
19 reason. The last thing you want to do is
20 underestimate what you're disposing. If you're
21 saying, well, it's no more than this, and this is a
22 conservative estimate, sometimes a bounding estimate,
23 people satisfy themselves they've met the requirement
24 for disposal, and that's true.

25 But it really creates kind of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 downstream problem of, well, now I've got -- I think,
2 if I recall right, it was hundreds of times more
3 inventory of tech-99, and maybe even a couple thousand
4 for I-129 -- I may have that backwards -- but it was
5 orders of magnitude higher inventories that came out.
6 And, of course, that's problematic from a PA
7 standpoint.

8 So I just -- you know, I don't know -- I'm
9 -- you know, I appreciate your insights and ideas, but
10 I think there's something there that needs to at least
11 be, you know, run through and thought about a bit. Is
12 there anything we can do at this stage to maybe at
13 least heighten people's awareness that with a pretty
14 big shift in waste processing and disposal
15 requirement, you know, as a combination of issues,
16 that that's something to think about. Is that off
17 base, or am I, you know --

18 MR. DEHMEL: No.

19 CHAIRMAN RYAN: -- I know it's a lot of
20 work, but --

21 MR. DEHMEL: You're highlighting some
22 valid points. The only thing is that right now, the
23 way the SRP is structured, it's not there. We simply
24 refer to those branch technical positions. We treat
25 that, you know --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: If it is the BTP that
2 needs to be updated, fair enough. We accept that as
3 maybe the right answer. But I think that's something
4 that, if there's a string between this and the BTP, it
5 still calls that question. But I appreciate the fact
6 that this may not be the right document. It may need
7 to be in the foundation document.

8 And just for clarity, it's the BTP on
9 waste form and waste classification? That's where it
10 would land?

11 MR. DEHMEL: Yes. Actually, you're
12 catching me off mark here. There are three of them
13 all together.

14 CHAIRMAN RYAN: Yes.

15 MR. DEHMEL: Yes, right.

16 CHAIRMAN RYAN: Okay. I see on slide 5
17 our old friend -- or our new friend, I guess -- the
18 GALE code.

19 MR. DEHMEL: I knew this was going to come
20 up.

21 (Laughter.)

22 CHAIRMAN RYAN: We'll talk about that when
23 we get to the letter.

24 (Laughter.)

25 MR. DEHMEL: Yes, that's right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: But I think we still see
2 that as something that, you know, if that can -- and
3 I know there's a tremendous time pressure, but that's
4 one I think we've debated and thought about needs to
5 be updated.

6 MR. DEHMEL: Yes. Just for your
7 information, the staff and management is very well
8 aware of this weakness. Staff has put together a
9 punch list of the codes -- you know, for example, the
10 computer codes that should be updated, and so on. So
11 it's essentially -- at this point a decision has to be
12 made that, you know, we're going to devote the time
13 and effort, the resources, to update all these codes.
14 And it's going to be costly, and it's going to take
15 some time.

16 MR. WIDMAYER: And, Mike, could I ask a
17 question on this?

18 CHAIRMAN RYAN: Sure.

19 MR. WIDMAYER: I just wondered, when
20 Research gave their presentation last month, they
21 didn't mention the ANSI standard. And I was wondering
22 if --

23 MR. DEHMEL: I think they did.

24 MR. WIDMAYER: Did they?

25 MR. DEHMEL: Yes, they did.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WIDMAYER: They did? Okay. I'm
2 sorry. In your opinion, how much better is this ANSI
3 standard methodology or --

4 MR. DEHMEL: Well, the ANSI standard --
5 the reason why it was inserted into the Reg. Guide
6 1.112 is that we felt that the reg. guide itself is
7 tied to the code. It's tied to NUREG-0016. It's tied
8 to NUREG-0017.

9 So for us to revise the reg. guide, and go
10 into a lot of detail, essentially it was a futile
11 effort because you really should update the computer
12 codes first, and then -- but we said because of the
13 applications coming in that people recognize the reg.
14 guide is outdated. So they are drawing not on the
15 1976 version of the ANSI standard, but on the 1999
16 version. And the staff has found this to be
17 acceptable.

18 So the idea was to actually at least leap
19 forward in time to 1999, and essentially acknowledge
20 the fact that the 1999 version of that standard is
21 adequate.

22 Now, the standard does not do everything
23 that the GALE code does. The only thing it does, it
24 provides you with a basic set of input parameters in
25 a series of simple equations to essentially calculate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 radionuclide concentration in primary coolant, primary
2 steam, radionuclide concentration in secondary
3 coolant, secondary steam, based on some very simple
4 plant parameters.

5 Essentially, it depends on how much the
6 thermal power reactor, how much water you have in a
7 reactor vessel, and so on. So it only -- it is only
8 used to calculate, again, cooling concentration.

9 What the GALE code does, it takes that
10 step further and then applies, depending on the kind
11 of treatment techniques, ion exchange, infiltration,
12 or whatever, and factors in decontamination factors --
13 storage time, processing time, and then it calculates
14 released inventories, curies per year to the
15 environment. And so it -- so --

16 CHAIRMAN RYAN: That's where the leap of
17 faith happens.

18 MR. DEHMEL: Well --

19 CHAIRMAN RYAN: And, you know, that's
20 hard-wired, as we discussed last time.

21 MR. DEHMEL: It's hard-wired.

22 CHAIRMAN RYAN: And it's very difficult I
23 think for anybody, particularly the -- you know, the
24 newer applicants. How do those old numbers really
25 relate to a new plant? There's no string attached

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there without really diving back into the memories of
2 folks that made those selections, because the
3 documentation doesn't tell you anything in that --

4 MR. DEHMEL: Well, I mean, you can look at
5 -- in the back of the document, there's a detailed
6 printout of the four --

7 CHAIRMAN RYAN: Yes.

8 MR. DEHMEL: -- you know, and I went
9 through it. It's interesting, you know, what's in
10 there. For example, you would find out that
11 ultimately a code was set up with different type of
12 reactors. So there's an option in there for high
13 temperature gas-cooled reactor. There's an option in
14 there for fast breeder reactor, but those options were
15 turned off, because obviously the context is for a
16 lightwater cool.

17 CHAIRMAN RYAN: And going through that
18 printout, you must admit, is a challenge for anybody,
19 but --

20 MR. DEHMEL: Yes. But, basically, there
21 are about 60 or so input parameters. That's not a
22 hard wire. You just cannot change it. That has to be
23 changed.

24 CHAIRMAN RYAN: Right.

25 MR. DEHMEL: Okay? And then, all of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 treatment methodology or the treatment processes, the
2 suite, and the options have to be expanded to reflect,
3 you know, what is currently available on the market
4 today -- ultra filtration, different type of
5 radionuclide-specific ion exchange resins, and so on,
6 you know, better reverse osmosis unit, and so on. So
7 that has to be updated. That's correct.

8 CHAIRMAN RYAN: And, again, I mean, I
9 don't know all the numbers, but it seems to me that
10 the reflection that water quality, for lots of obvious
11 reasons, of, you know, better performance, lower
12 activation problems, and dose rate management, there's
13 a dozen reasons why higher water quality or better
14 water quality has become a real benchmark for the
15 industry. And that would seem to have an impact, too,
16 on all of this.

17 MR. DEHMEL: Yes. The operation -- the
18 initial determination as to whether the cooling
19 concentrations are as input into the liquid waste
20 management system or as input into gaseous effluents,
21 basically based on operational history of the plants
22 up to the late '60s and early '70s. So we looked at
23 a number of plants, and the basic section described
24 all the plants, and from there they said, "Well, for
25 cobalt-60, for so and so, and that radionuclide, here

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is the ratio." And those ratios are hard-wired,
2 again, into the code.

3 CHAIRMAN RYAN: That's a bad thing.

4 MR. DEHMEL: Yes. It does not reflect,
5 you know, the fact that we have much better fuel now.

6 CHAIRMAN RYAN: Right.

7 MR. DEHMEL: And that also chemistry --
8 you know, the utilities are much more attentive now to
9 chemistry, so those essentially would have a tendency
10 to perhaps reduce cooling concentrations. And also --

11 CHAIRMAN RYAN: This shows the mix of
12 radionuclides.

13 MR. DEHMEL: Absolutely.

14 CHAIRMAN RYAN: Yes. So from a health
15 physics perspective --

16 MR. DEHMEL: Yes.

17 CHAIRMAN RYAN: -- that's a big shift.

18 MR. DEHMEL: Big shift, yes.

19 CHAIRMAN RYAN: One last point and I'll
20 turn to my colleagues here. On slide 10, the last
21 bullet, the definition of the boundary with the liquid
22 waste management system from system interface to point
23 of storage release, recycle, and disposal.

24 Led me to think about, have you had any
25 interaction with any of that community of folks who

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are in the waste management arena? Have they been a
2 participant in any of this?

3 MR. DEHMEL: Waste management arena, what
4 do you mean?

5 CHAIRMAN RYAN: The companies that do
6 processing or liquid waste systems or mobile systems
7 or any of that?

8 MR. DEHMEL: No.

9 CHAIRMAN RYAN: Are they aware of this
10 update, do you think, or -- I mean, I just wonder if
11 they might have some interesting --

12 MR. DEHMEL: Yes. I think they are aware,
13 because they realize there's a big emphasis on their
14 mobile processing system, and especially in light of
15 this wave of new reactor applications. I'm sure
16 they're keeping abreast, because they see this as a,
17 you know, kind of significant business opportunity.
18 So I'm sure they're keeping abreast, but we haven't
19 contacted anybody.

20 My understanding, in talking to some
21 representative from the utilities, and as well as NEI,
22 is that each plant develops a set specification for
23 their plant for what they expect to achieve. And that
24 specification takes into account whatever system is
25 permanently installed, and then what they want --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 essentially the output from that permanently installed
2 system to be treated.

3 And those specs are especially sent in to
4 Chem Nuclear, GTI's director, whomever, and then
5 actually design and build a system and -- for the
6 plant. So it's true that there are some -- you can go
7 to a catalog, you can go to somebody's website, and
8 look at some of these systems. But, essentially, they
9 are a generic system, and whether or not there will be
10 a representative or a mobile processing system that
11 will be installed, an operating plant, or seem to be
12 operating powerplants, you know, I can't tell.

13 CHAIRMAN RYAN: I guess, just on the
14 process side of things here, this will go out for
15 comment, public comment, at some point after the
16 drafting is --

17 MR. DEHMEL: Well, I think it's going to
18 be -- Steve?

19 MR. KOENICK: The way we're going --

20 MR. WIDMAYER: Steve, come up to the
21 microphone and identify yourself.

22 MR. KOENICK: Sure. This is Steve
23 Koenick. I'm with New Reactor Office, and I'm charge
24 of the standard review plan update. What we're doing
25 is we're issuing the standard review plan revision as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a final product in March. This and all our guidance
2 documents are available for comment, and we can
3 consider those comments after issuance of the
4 documents.

5 We went with this approach because to be
6 considered in effect by regulations they have to be
7 issued six months prior to the docket date of an
8 anticipated application. So if we would have issued
9 these in draft and waited for public comment, and
10 disposition of those public comments, they would not
11 be considered in effect. So this establishes our
12 review guidance.

13 Let me take a step back and say that the
14 standard review plan is staff guidance in how to
15 conducts its review. So we felt that this was the
16 best way to establish our baseline, to be considered
17 in effect in support of these applications.

18 CHAIRMAN RYAN: Okay. Thanks. That's
19 good information. Appreciate it.

20 MR. LARKINS: Just a point of
21 clarification, though, the reg. guides are going out
22 for comment.

23 MR. DEHMEL: Yes, that's correct. The
24 regulatory guides, which are license -- applicant
25 guidance documents, which establish acceptable

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 approaches to satisfying regulations, we did -- we
2 went through and we did issue all of those regulatory
3 guides. They are being updated for public comment.

4 MR. LARKINS: Okay, great. Thanks.

5 CHAIRMAN RYAN: Just one last comment, and
6 that's on 11. I really appreciate and think the fact
7 that you're looking for connectivity with everything
8 else is a big job, but one that's very admirable to
9 do, so -- all the easy stuff has been done already,
10 right?

11 MR. DEHMEL: Right.

12 CHAIRMAN RYAN: Yes. That's great.

13 Professor Hinze.

14 MEMBER HINZE: No questions.

15 CHAIRMAN RYAN: Allen?

16 VICE CHAIRMAN CROFF: I know you've
17 probably maybe heard enough on your slide 5, but
18 you're going to hear a little more. I wanted to get
19 slightly more specific. This slides addresses a --
20 basically, a prediction of what will happen from a
21 plan, as a basis for licensing I guess. Has anybody
22 gone and compared the prediction to what actually
23 occurred at some plants, and how do they compare?

24 MR. DEHMEL: No, not recently. I'm not
25 aware of any work that was done. We -- you know, we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 get an annual effluent release report submitted by
2 utilities. I can tell you there's an effort, a recent
3 effort. When I was in Research, we started to compile
4 some of this information. And it's part of developing
5 the database for -- that Research put together and
6 looking at some of the information.

7 I did look at a few powerplants, but it
8 was just for professional curiosity as opposed to
9 trying to do a detailed analysis. And I can tell you
10 that all the liquid and gaseous effluent releases and
11 doses are a fraction of what's estimated in the final
12 safety analysis reports, and as-yet-to-be-seen COL
13 application packages.

14 So the operational history shows -- I'm
15 not sure about this plant upset, for example, so --
16 what we heard about, for example, at Braidwood, and so
17 on. You know, I'm not talking about those. But
18 routine effluent releases, the concentrations are
19 typically, you know, lower than what's stated in the
20 FSARs.

21 VICE CHAIRMAN CROFF: Thanks.

22 CHAIRMAN RYAN: Ruth?

23 MEMBER WEINER: Thank you for your
24 presentation. I don't have a great deal of comment on
25 the presentation itself. I wanted to just make a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 comment about your updating codes, and that is you
2 want to make sure that when you do update everything
3 is backwards compatible. We have a great deal of
4 problem with that with various codes, so that people
5 can use old inputs and old calculations and then
6 compare them with new ones.

7 MR. DEHMEL: Yes. One of the things that
8 has been discussed internally in NRR, as well as with
9 Research, is that we are going to update the IDA code
10 for BWR/PWR-GALE code. The thinking is that we would
11 essentially keep the existing version intact, kind of
12 a Legacy version of the code.

13 And then, there will be additional
14 options, so when a program would open up you would
15 have essentially the option. You click -- one would
16 be -- to use the current version of the code. That
17 would remain intact. Eventually, the aspect is
18 because we have 104 powerplants licensed under that
19 already.

20 And then, there would be another one
21 where, for example, you could invoke the provisions of
22 the ANSI standard as being an option. The other one
23 could be that you would have a provision to
24 essentially start with a blank slate. Essentially,
25 all of the input parameters will be left to the user.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And that would essentially address, you
2 know, you would input the radionuclide concentration,
3 primary coolant, primary steam, input all of these in.
4 You select the radionuclide, put the respective
5 concentration in, identify the kind of liquid
6 processing system you might have, and so on.

7 So there will be at least three versions
8 or three options under the same code that you could
9 select to operate. That's conceptually what we're
10 thinking about right now.

11 MEMBER WEINER: That's a very good
12 approach, I think.

13 CHAIRMAN RYAN: Jim?

14 MEMBER CLARKE: Michelle, could you take
15 us to the last slide? Slide 13, I think. Oh, he did.
16 Okay. Thank you.

17 As you know, the Committee is very
18 interested in decommissioning lessons learned, and we
19 did have a working group meeting at our last meeting
20 in November. You are updating the standard review
21 plan to factor in the liquid radioactive release task
22 force information and the lessons learned from
23 decommissioning. That will be included in the update.
24 I'm just, you know --

25 MR. DEHMEL: Right now, referring to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 task force report for the purpose -- for illustrating
2 the kind of issues. For example, I believe that
3 Sections 2.2 and 3.2.2 in the task force report are --
4 that identify specific events that have occurred at
5 specific powerplants, and some of the issues and
6 problems that were associated with those offsets.

7 So, for example, if you think about
8 Braidwood, the question was for all these vacuum
9 breaker valves, right? So if you see an application
10 package with vacuum breaker valves, well, you may say,
11 well, you know, what kind of maintenance, you know,
12 let's -- do you intend to do on those valves? Are
13 those valves a second-generation design or whatever?
14 So --

15 MEMBER CLARKE: What you've learned from
16 those studies will be incorporated in the plan. I
17 guess where I'm going is that, but that won't be
18 available until March. In other words, we will not be
19 able to see what you've done until March of '07. Is
20 that --

21 MR. DEHMEL: Well, I think maybe my
22 supervisor, Tim Frye, can talk about where the task
23 force report is going and how the recommendation of
24 the task force has been treated and how ultimately
25 they may find themselves into guidance --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER CLARKE: I'm really asking about
2 both, the lessons learned as well.

3 MR. FRYE: Tim Frye, NRR, Health Physics
4 Branch Chief. And I think actually you've heard the
5 presentation before, and I don't think I could add too
6 much. But the staff is working on the task force
7 recommendations, and it's, you know, probably a year
8 down the road for updating other reg. guides to get
9 them -- the recommendations in. And, you know, I
10 think giving them those reg. guides reflected in Jean-
11 Claude's --

12 MR. WIDMAYER: Hey, Jim?

13 MEMBER CLARKE: Yes.

14 MR. WIDMAYER: The memo that FSME put
15 together that has specific decommissioning lessons
16 learned --

17 MEMBER CLARKE: Right.

18 MR. WIDMAYER: -- they've incorporated
19 that into this revision of the standard review plan.
20 That's in this -- it's available now for you to
21 review. But the tritium task force report -- as Tim
22 said, they still have to work more on that.

23 MEMBER CLARKE: Okay. Thanks. That's
24 helpful. I'm just trying to determine when we can see
25 the result of what you've done to take this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 information and incorporate it into your review plan
2 and --

3 MR. FRYE: I think one of the major
4 products which Jean-Claude has referenced is a new
5 reg. guide that is being developed to provide guidance
6 for 20.1406, which is --

7 MEMBER CLARKE: Yes, that's the interest.

8 MR. FRYE: Right.

9 MEMBER CLARKE: Well, that's one of the
10 interests.

11 MR. FRYE: Right.

12 MEMBER CLARKE: Certainly, the --

13 MR. FRYE: That's one of the big products
14 that are, you know, coming out of this that -- as we
15 get that new reg. guide, we'll have that guidance.

16 MR. WIDMAYER: And that is scheduled for
17 March.

18 MEMBER CLARKE: Okay.

19 MR. FRYE: The draft for public comment is
20 scheduled.

21 MEMBER CLARKE: Okay. Thank you.

22 MR. DIAS: Okay. There is one more
23 chapter of the SRP that the ACRS suggested the ACNW
24 for review, and I think that's the 11.5. What's the
25 one that --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DEHMEL: Yes, 11.5.

2 MR. DIAS: Yes.

3 MR. DEHMEL: But also, I think the --

4 MR. DIAS: It's the one related to outside
5 dose. You mentioned that it's very much the same, but
6 do we -- I just wanted to know, when would it be
7 available for -- if the members choose to look at it,
8 when, what's the date that it would be available?

9 MR. DEHMEL: Well, we're finished with it.
10 It's essentially going through the technical editor
11 now, and then it's -- you know, when it will land on
12 your desk I have no idea.

13 MR. DIAS: Because of all the, let's say,
14 11.X series, the two ones that were assigned to the
15 ACNW were the 11.2 and 11.5.

16 MR. KOENICK: This is Steve Koenick with
17 NRO. The process which we have been doing is after
18 the SRP section goes through the appropriate
19 concurrences, what we're doing is directing -- what
20 we've done with ACRS is directing the ACRS members as
21 NRC users to where they are located in ADAMS as -- and
22 these are still draft products, but they have been
23 pretty much essentially technically complete.

24 And then, following the rest of the
25 concurrence process, we've been formally transmitting,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 like we did with 11.2, you -- this was I guess
2 formally issued yesterday or the day before, but you
3 had seen the technical content associated with it well
4 in advance. So I would think that we could probably
5 do something very similar before the end of the year.

6 MR. DIAS: Okay. Thank you. We'll have
7 to see how that fits into --

8 CHAIRMAN RYAN: Any other questions?
9 Latif?

10 MR. HAMDAN: Yes. On Slide 6, where you
11 list some of the criteria that are cited in the SRP,
12 you do not mention 20.2002, which essentially allows
13 the licensee or the applicant to give you a disposal
14 or discharge alternative to the methods that are
15 included in Part 20. And I think that's significant.

16 MR. DEHMEL: In Chapter 11.4 addressing
17 waste disposal, we did not identify 20.2002, because
18 it's a licensing action. In other words, the
19 applicant -- the utility in this case, I should say,
20 not the applicant -- the utility would have to
21 actually petition the NRC to essentially apply a
22 disposal method that is not described in a rule.

23 MR. HAMDAN: But that's significant, isn't
24 it? I mean, that would be used for the licensee to
25 have their -- it could be very useful for them.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DEHMEL: Well, it's an operational
2 issue at that point. Essentially, it's an operational
3 issue, in the sense that they have generated some type
4 of waste, and for whatever reason there is no routine
5 outlet for that type of waste. And then, they have to
6 invoke -- to put that special provision in Part 20.
7 So it's not addressed in here, because -- in 11.4,
8 although we know we should include it, and, you know,
9 we think about it. But it's not currently cited in
10 11.4, no.

11 MR. HAMDAN: But why not?

12 MR. WIDMAYER: Well, wouldn't you -- you
13 would only use 20.2002 after you've got your license
14 is what he's saying. You don't need that as an
15 acceptable criteria at the application stage.

16 MR. DEHMEL: It's an operational
17 consideration.

18 MR. HAMDAN: Well, you can use it in that
19 application if you want. It says applicant, and
20 that --

21 MR. WIDMAYER: They wouldn't allow it.

22 CHAIRMAN RYAN: It's case-specific, 2002.

23 MR. HAMDAN: That's true.

24 CHAIRMAN RYAN: So it's not a design or,
25 you know, or up-front criteria.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HAMDAN: It's case-specific, but it's
2 useful.

3 CHAIRMAN RYAN: And I think Jean-Claude is
4 saying the applicant still has access to it through a
5 petition.

6 MR. DEHMEL: Right.

7 MR. HAMDAN: All I'm saying is I'm
8 surprised it's not in the SRP. That's --

9 CHAIRMAN RYAN: Okay. Well, surprise --

10 MR. DEHMEL: No, it's not in the SRP.
11 Whether or not we include it, you know, we can
12 brainstorm this, you know, internally and figure out
13 whether or not it should be there.

14 CHAIRMAN RYAN: Okay. Any other questions
15 or comments?

16 MR. WIDMAYER: Mike, just -- it sounded to
17 me like the ACNW might be interested in reviewing 11.3
18 and 11.4 in addition to 11.5.

19 CHAIRMAN RYAN: I think what we ought to
20 do is take that under advisement.

21 MR. WIDMAYER: Sure.

22 CHAIRMAN RYAN: At least study that
23 question a little bit, and then give a more thoughtful
24 answer to staff, if we do or not.

25 MR. WIDMAYER: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: So let's --

2 MR. LARKINS: I think you can get the
3 document, get a chance to look at it, and then you can
4 decide.

5 CHAIRMAN RYAN: And then we can see. But
6 I think you've certainly given us a roadmap, Jean-
7 Claude, today of how they fit together a little bit.
8 We are very interested in, of course, the topics. The
9 ACRS has asked us to take a look. But we clearly
10 don't want to overburden you with, you know, fabulous
11 presentations --

12 MR. DEHMEL: Thank you.

13 CHAIRMAN RYAN: -- with us hour after
14 hour. So we're sensitive to the fact we don't want to
15 abuse too much of your time, but we appreciate the
16 insights you've shared with us today.

17 MR. DEHMEL: Thank you.

18 CHAIRMAN RYAN: Thank you very much.

19 With that, we are scheduled for our next
20 briefing from Jim Shaffner, who is with us for the
21 Low-Level Waste Strategic Planning Initiative, and
22 we'll hear about public comments that the staff has
23 received up to this point.

24 (Pause.)

25 Well, why don't we go ahead. Let me

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 introduce Jim Shaffner from the Environmental
2 Protection and Performance Assessment Directorate of
3 the U.S. NRC. Jim, welcome. We look forward to your
4 presentation.

5 MR. SHAFFNER: Thank you very much, Dr.
6 Ryan, and Committee members, staff, and other folks
7 who decided to participate this morning.

8 I was just looking at my first slide, and
9 I noted that I put after my name PE, which is true but
10 totally irrelevant to the presentation that I'm going
11 to give this morning.

12 This morning I'm here to discuss and
13 dissect public comments in response to a Federal
14 Register notice that we issued back in July as part of
15 our ongoing strategic assessment process that I know
16 you're aware of.

17 The primary sources of input for our
18 strategic assessment, in addition to our own
19 expertise, direction from the Commission and a larger
20 -- somewhat larger effort back in 1996, and the ACNW
21 white paper that we saw in draft, and I'm told we're
22 about to see in final pretty soon.

23 We also were informed by input from a
24 workshop that was conducted by the ACNW with input
25 from us back in May of this year, which was very well

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 attended, responses to the Federal Register notice
2 that is the subject of today's focus, your letter to
3 Chairman Klein on August 16th of this year, as well as
4 a number of independent position statements from
5 organizations such as the Health Physics Society, the
6 American Nuclear Society, the Southeast Compact
7 Commission, and others.

8 Just a reminder -- the Federal Register
9 notice, if you -- in case you want to look it up, is
10 in Volume 71 of the Federal Register published
11 July 7th. And it was a request for comments, and
12 there were some specific questions posed, which I'll
13 get to in a little bit. There was --

14 CHAIRMAN RYAN: Jim, if I may, I'd like to
15 add a real positive comment to this introductory
16 information about the outreach and the communications.
17 The Committee really has enjoyed excellent
18 communications with the staff from our even early
19 planning steps on the white paper, and so forth, and
20 the communication we've had with the staff all the way
21 along the way is appreciated and welcomed and an
22 important part of the program.

23 MR. SHAFFNER: Well, on behalf of my
24 colleagues, we'll reciprocate that.

25 In response to the FRN, we received 46

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sets of comments. Some, as you might imagine, were
2 representing the viewpoints of numerous individuals.
3 There is significant variance in both the length and
4 detail of the comments.

5 For instance, some comments were one
6 sentence long and said things like, "Stop nuclear
7 power," and, you know, "Don't make any more nuclear
8 waste," and that sort of thing. And then, others, of
9 course, went on for -- you know, for dozens of pages
10 with very detailed descriptions or expressions of a
11 point of view or a concern or an opinion, or whatever.

12 A lot of the comments represented a broad
13 industry point of view, such as the point of view of
14 the nuclear industry from NEI, the point of view of
15 the radiopharmaceutical industry from CORAR, etcetera.

16 And as you might imagine, and we'll get to
17 in a minute, there was a wide range of viewpoints on
18 certain topics, and not all of them were aligned.

19 The categories of stakeholders that were
20 responding to the FRN included state agencies, four
21 states responded, and we're still in the process of
22 collecting information from the state agencies. After
23 this meeting, we've got a discussion with the State of
24 Utah, radioactive materials users such as CALRAD and
25 CORAR, private industry such as Energy Solutions,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 government and military entities.

2 The U.S. Army and the U.S. Air Force, that
3 really have a dog in this fight, had some very
4 extensive and well-informed comments. Some users
5 advocacy groups, compact commissions, public interest
6 and environmental groups such as NERS and the Sierra
7 Club commented extensively, and public policy groups
8 such as the National Academy of Sciences, which was
9 essentially reaffirming some comments that it had made
10 in an earlier position statement.

11 So what to do with these comments when
12 they came in the door. It was the task of the staff
13 to prepare summaries of the comments in a couple of
14 different ways. First, because we asked specific
15 questions of the commenters, and not all the
16 commenters chose to respond to those questions, we
17 decided to look at the comments with respect to
18 specific responses to the questions that we asked.

19 But we were dealing with a larger
20 universe, so we also wanted to go back and summarize
21 the individual responses that we received from all
22 commenters. And I'll go through the process in a
23 minute.

24 And the comments were assessed for common
25 themes and topics, general opinions and concerns about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the nature of the low-level waste program in this
2 country, in the U.S., and in some cases some other
3 concerns, and suggestions for improvement, some
4 general, some specific.

5 And one of the things that we decided
6 would be useful to apply was the hierarchy that was
7 presented by the National Academy of Sciences' study
8 on low activity waste, and that is the rather
9 pragmatic approach of, you know, starting locally and
10 working out globally for problem-solving from license
11 conditions to guidance to regulations to legislation,
12 recognizing, of course, that as we moved, you know,
13 out that spectrum the staff itself had -- you know,
14 had limited -- you know, limited control and limited
15 input to that process.

16 I'll turn now to the specific responses to
17 the FRN questions. As I said, we received -- 17 of
18 our 46 total respondents responded specifically to the
19 questions that were asked, and these were primarily
20 users, users groups, industry advocates, regulators.
21 There was one environmental group that responded
22 specifically to the questions.

23 The first question had to do with key
24 safety and cost drivers. And as I go through --
25 because of the nature of this presentation, I'm just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 trying to provide somewhat of a snapshot of the types
2 of comments that we got. This is by no means all
3 inclusive. You know, if we want to get into that, we
4 can -- we certainly can, but, you know, I'm just -- at
5 this stage, I'm trying to give you a sense of the
6 types of comments that we got from a broad spectrum of
7 commenters.

8 So a couple of observations that -- in
9 some cases, while folks are responding to a specific
10 comment, they were also in the process of espousing a
11 point of view, and so the responses aren't necessarily
12 completely aligned with the -- you know, with the
13 question that was asked in all cases.

14 And in some cases, folks were looking for
15 an opportunity to, you know, communicate on a broader
16 plane than just the low-level waste area. So some of
17 the comments, you know, go beyond specifically low-
18 level waste.

19 But we received comments -- and I don't
20 think any of these are any great surprises -- concerns
21 about the lack of assured disposal capacity as we move
22 into the future, the lack of economic incentives to
23 develop new disposal facilities or new aspects of low-
24 level waste management, the fact that the limited
25 competition in low-level waste disposal, you know, is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 resulting in a high cost of disposal, and then the
2 corollary, the fact that the high cost of disposal in
3 some cases has led to the reduced use of radioactive
4 material for beneficial uses in this country.

5 And because of the possibility that the
6 long-term storage is on the horizon, some -- you know,
7 some folks commented on the fact that there is some
8 limited capability to -- you know, to store waste and
9 some of the problems associated with that. And I'll
10 touch more on that later.

11 And on the -- sort of a little different
12 perspective, there was a concern about the limited
13 opportunity for citizen evaluation of some safety and
14 security adjustments that the NRC made in response to
15 9/11 -- again, a little bit out of the -- specifically
16 out of the low-level waste arena.

17 Next question had to do with
18 vulnerabilities in the current regulation of low-level
19 waste. People referred to some of the challenging
20 regulatory requirement and some -- what they perceived
21 as systemic delays in some of the processes. Those of
22 you who are familiar with some of the -- you know,
23 some of the efforts to develop new low-level waste
24 facilities a decade or so ago certainly are familiar
25 with some of those systemic delays.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Transportation distance and transcompact
2 shipping -- the fact that, you know, in some cases
3 material has to move a long distance to get disposed
4 of and cross various compacts, and, again, the lack of
5 free market opportunities to solve the low-level waste
6 disposal dilemma.

7 The next question had to do with the
8 future of low-level waste disposal. And I think that
9 for the most part -- how do I make this little thing
10 go away?

11 MR. WIDMAYER: Move off of it and just
12 click, I think.

13 MR. SHAFFNER: Okay, good. Thanks.

14 For the near term, folks seem to perceive
15 a fairly steady waste volume, you know, consistent
16 with the operation waste that we're seeing now. In
17 the longer term, there was a perception of significant
18 increases in particularly low activity and very low-
19 level waste associated with decommissioning.

20 There was a perception that cost increases
21 in waste management were going to be, you know,
22 basically a given, and I -- I got the sense that there
23 was -- not the sense, there was -- there seemed to be
24 more pessimism than optimism about -- regarding
25 disposal capacity as we move into the future. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there was a -- in a lot of cases an urge or a -- you
2 know, I guess a plea for a federal solution to -- you
3 know, that the Fed should ride in on a white horse and
4 basically solve this -- you know, solve this problem.

5 On the I guess I would call optimistic
6 side, there was a perception that, you know, we -- you
7 know, we do live in a country that has risen to a lot
8 of challenges, and there was a perception that, you
9 know, as -- as we go along, there will be a flexible
10 risk-informed solution, you know, to the disposal
11 situation in the U.S.

12 And then, given that we looked at several
13 scenarios, future scenarios, we asked folks how these
14 may impact the disposal and storage situation, and
15 looked at them from the perspective of the regulatory
16 system reliability and adaptability, the regulatory
17 burden that would be imposed on folks, and the aspects
18 of safety, security, and environmental protection, and
19 these are some of the things that popped up.

20 The fact that the economic drivers for
21 disposal and centralized storage are the same, and I
22 think this lesson may have come out of the attempt a
23 number of years ago to look at assured isolation
24 facilities. And, you know, the folks that are --
25 they're finding that some of the same challenges that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 faced -- you know, that came along with the idea of
2 disposal waste, you know, are associated with
3 centralized storage.

4 The fact that the lack of disposal
5 capacity creates different regulatory issues that we
6 have to deal with. For example, if long-term storage
7 is going to be a fact of life, you have to deal with
8 the fact that, you know, folks might have to be
9 licensed for increased quantities of material onsite,
10 which -- you know, which could kick in the increased
11 control requirements for security purposes.

12 Back to what appeared to be a favorite
13 theme, the fact that the Federal Government
14 intervention is perceived as necessary for a broader
15 spectrum of waste, a lot of folks commented that DOE
16 should not only be responsible for greater than
17 Class C, but they also should be responsible for B and
18 C waste, and particularly with regard to B and C
19 sealed sources. On the other hand, as you might
20 expect, utilities saw very little problem with the
21 fact that B and C waste was going to have to be
22 stored.

23 And then, we asked, what specific actions
24 might yield benefits, you know, in future management
25 scenarios? And, once again, we're back to DOE opening

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sites to disposal of commercial waste. And I'd say
2 there's lot of variations on this theme throughout the
3 comments.

4 Align NRC/EPA regulations, and this is
5 particularly with response to low activity waste and
6 the allowance of low activity mixed waste to move in
7 both directions, to low-level waste sites, which
8 there's already a regulation in the book that allows
9 that, and to move low activity waste to RCRA
10 facilities.

11 There was the perceived need for a graded
12 regulatory structure, such that the -- you know, the
13 regulatory rigor was consistent with the risk
14 associated with particular material.

15 Maximization of existing flexibility
16 that's inherent in Part 61, taking full advantage of
17 61.58, which would allow, you know, alternate paths
18 forward, you know, by looking at other ways of meeting
19 performance objectives other than just the tables that
20 are contained in Part 61.

21 From folks that maybe have a different
22 viewpoint as far as the use of radioactive material,
23 we were told that perhaps a switch to alternative
24 energy sources was the way to go.

25 And a caution that, of course, any changes

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that are implemented can affect ongoing processes,
2 such as the successful operation of the Northwest
3 compact site and efforts to license a facility in the
4 State of Texas.

5 And then, to ask the question a little
6 differently, asked, what specific actions should take
7 place? And I'm not sure that the answers are all that
8 different, but in one case it was suggested that we
9 separate facility design from siting, you know,
10 similar to the -- you know, to some of the models in
11 the reactor world, the idea being -- you know, getting
12 some of the designs taken care of so they don't become
13 an issue in the -- you know, in the actual siting of
14 a facility.

15 Updating storage guidance, particularly
16 with regard to sealed sources and particularly with
17 regard to materials licensees, allowing greater
18 packaging credit for disposal of sealed sources. As
19 you know, it's -- sealed sources, because of their
20 small size, even though they have relatively low total
21 activity, often fall in a Class B or C or higher
22 category just because of that. And in some cases,
23 packaging credit is given. And in other cases, it's
24 not, depending on the facility.

25 Align the controls of uranium-bearing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 waste. There was lots of concerns about the fact that
2 there is -- seems to be different management schemes,
3 again based on -- you know, based on origin as opposed
4 to risk associated with uranium waste streams.

5 There was an observation that public
6 education equals improved acceptance. I think a lot
7 of us have, you know, looked at that particular aspect
8 for a long time, and that proper disposal equals
9 enhanced security. I don't think there's too many
10 folks that are in this business that would argue with
11 that.

12 What are some of the unintended
13 consequences that may result? Alternative disposal
14 hinders low-level waste economics. The suggestion
15 there was that if we allow alternate paths forward for
16 large volumes of low-level waste that the unit cost of
17 disposal of the remaining low-level waste, you know,
18 can be affected. And there were other aspects of that
19 as well.

20 Long-term storage issues with folks that
21 are ill-prepared to store on a long-term basis,
22 concerns about security, worker exposure,
23 environmental contamination, and, of course, cost.
24 There is some public resistance to alternative
25 disposal technologies, that notwithstanding the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 appropriateness from a regulatory standpoint of some
2 types -- these types of disposal that, you know, there
3 is some public concern.

4 There is some concern about the possible
5 disruption of ongoing compact activities and uneven
6 adoption of regulations by states. And this was
7 particularly with respect to the EPA's conditional
8 exemption rule.

9 What works and what doesn't as far as
10 waste management? Certainly, communication is
11 recognized as something that is a good thing, and
12 keeping with, you know, Dr. Ryan's comment earlier in
13 this presentation.

14 Community goodwill programs -- an example
15 that was given was, you know, industry effecting some
16 radon reduction mitigation activities in -- you know,
17 in public facilities such as schools and things like
18 that. And NRC's participation in national
19 organizations, which of course has been ongoing and
20 will continue.

21 What doesn't work and needs improvement?
22 Certainly, there was a concern about the complexity of
23 some mixed waste regulations and the -- you know, the
24 fact that NRC and EPA have, you know, in some cases
25 different regulatory approaches.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The communication among agencies that
2 really need to get together to -- you know, in order
3 to effect solutions for -- you know, for common
4 problems. And knowledge transfer -- and this isn't a
5 case of one that doesn't work. It's just a
6 recognition of the fact that as the waste -- as the
7 folks that have some knowledge and skills in the waste
8 management arena get older that there's a lot of
9 knowledge and allure that -- you know, that is
10 available to them that won't necessarily be available
11 to the generation that's following. And there needs
12 to be an effective mechanism to make sure that that
13 occurs.

14 And there was a question regarding
15 improving federal coordination, and here suggestions
16 included the need for integrated strategies for low
17 activity waste regulation. Foster multi-agency
18 cooperation -- not too different from the earlier
19 slide.

20 Interagency task force to identify and
21 resolve low-level waste issues. The need for risk-
22 based standards for cleanup and decommissioning, and
23 the need to, you know, work with stakeholders to
24 identify confusing issues and to figure out a way to,
25 you know, improve the transparency of how those issues

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 might be addressed.

2 Now I'm going to turn briefly to the other
3 aspect of our review of these comments, and that was
4 the binning of them by topic. And as I said, this now
5 included all 46 respondents to the questions, and we
6 went through and we identified the -- and summarized
7 the individual comments of all the commenters, and
8 then we tried to identify broad topics that were
9 included and look at the opinions that were offered on
10 those topics.

11 Certainly, the opinions and concerns that
12 were offered by folks that attended the workshop were
13 completely consistent with the opinions that were
14 offered in the workshop. But we got, again, a broader
15 representation, no real surprises, but certainly some
16 nuance.

17 For example, risk-informing, comments such
18 as revising Part 61 to incorporate risk insights,
19 rather than revising the regulation, better use the
20 inherent flexibility by employing guidance as to how
21 that flexibility may be used. And then, on the other
22 side of the spectrum, the fact that risk-informing was
23 tantamount to deregulation.

24 In the area of clearance, there was a need
25 for -- suggestion of the need for a transparent,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 harmonized, clearance rule, and then all the way over
2 to -- the fact that -- again, on one hand the need for
3 a transparent, harmonized rule, all the way to the
4 other end of the spectrum, where we should abandon the
5 idea of clearance altogether.

6 Greater than Class C, we were offered the
7 comment that the path forward should be disposal at
8 Yucca Mountain, and that DOE should get on with the
9 EIS. And once again, I want to remind you, these are
10 just a Whitman Sampler of the comments we received.
11 The actual comments were a lot more numerous than
12 this.

13 On the category of B/C waste, there was a
14 recommendation that this material needed to be
15 disposed of on federal or tribal land. That we needed
16 -- that, in fact, stability requirements for B and C
17 waste were discouraging the licensing of such
18 material. That Congress should ensure disposal
19 capacity for B and C waste.

20 And I pointed this out earlier in another
21 context, the lack of B/C disposal represents no
22 emergency, and, again, DOE should dispose of B and C
23 sealed sources.

24 Waste classification -- recommendation
25 that the classification system be modeled, you know,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 after the NCRP recommendations, 2002, which would, you
2 know, sort of align similar risks similarly. And a
3 recommendation not to reclassify high-level waste to
4 low-level waste, a reference to the waste incidental
5 to reprocessing process.

6 Long-term low-level waste storage -- all
7 the way from no new guidance is necessary to update
8 guidance before Barnwell closes.

9 Some other topics that were raised --
10 there were a myriad of ideas for federal solutions,
11 such as allowing the use of DOE facilities absent any
12 NRC regulation to commercial disposal on federal land
13 with NRC regulations.

14 There were lots of suggestions for the
15 increased use of uranium mill tailings empanelments
16 for disposal of -- you know, of depleted uranium as
17 well as, you know, other material, and a suggestion in
18 some cases for the conversion of DU for a more -- to
19 a more disposal -- a suitable disposal forum, and the
20 idea of the possibility of making a site-specific
21 safety case for broadening the use of certain uranium
22 mill tailings facilities.

23 There were expressions of concern about
24 the state and compact process and how that was going,
25 and the fact that -- again, that things that we do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 should -- you know, moving forward should not impede
2 the progress of the state and compact process.

3 There were lots of concerns about the
4 economics of waste management, both, you know, the
5 cost of disposal and also the economic drivers toward
6 solutions, and the lack thereof in some cases.

7 There were certainly comments and concerns
8 about NRC's process for doing business. There was a
9 concern that -- you know, that we don't -- we don't
10 make enough allowance for a more even representation
11 at meetings such as this -- in other words, the folks
12 on one side are not equally represented with the folks
13 on perhaps the other side.

14 And then, there were just some other
15 general concerns and opinions. Asked -- a reminder
16 that we need to consider the synergistic impacts of
17 all pollutants. In one case, an observation that NRC
18 has lost its public trust, a need for interregional
19 agreements for waste processing.

20 Now, with caution, I'm going to just try
21 to end with a few themes that we saw throughout this.
22 And, again, I say with extreme caution, because these
23 by no means represent a consensus of all viewpoints or
24 -- you know, and there are certainly commenters that
25 would disagree with these points of view. But there

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 seemed to be a theme of a need for a path forward for
2 low activity waste, you know, in a -- perhaps a more
3 transparent and more easily flowing one than we have
4 now.

5 The need to align regulatory rigor with
6 risk -- you know, the concern that oftentimes there
7 seems to be more rigor applied than is appropriate for
8 the risk that's associated with certain material. And
9 the need to treat similar risks similarly, to not --
10 to apply the same type of standards, you know, to low
11 activity radioactive material as would be applied to,
12 you know, hazardous material with similar risk.

13 And the cost of disposal of radioactive
14 material, radioactive waste, should not drive the
15 beneficial use of radioactive material. And this
16 seems to be a concern, particularly in the medical and
17 the research community, that there is a lot of -- and
18 I know you heard this at the workshop back in May, the
19 fact that -- you know, that there is -- you know, in
20 some cases, the diminution of the use of radioactive
21 material or switching to less desirable material for
22 research because of the high cost of disposal.

23 And then, again, the seeking of the
24 Federal Government solution to -- you know, to the
25 disposal problem. And then, finally, a reminder that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we -- you know, when we are aware that things are
2 working, that we want to make sure that we don't -- we
3 don't inadvertently implement something that's going
4 to mess that up.

5 And I think the observation there was
6 particularly in regard, again, to the Northwest
7 compact where there was some concern that there might
8 be some things that could be done that would affect
9 the working of that compact.

10 Now, as I said earlier in the
11 presentation, this was all done as part of our
12 strategic assessment, and, in fact, these comments
13 will be very helpful to inform the strategic
14 assessment.

15 In so doing, however, the staff must keep
16 in mind and temper our response with the -- by being
17 mindful of the overall NRC mission, the resource
18 limitations that are very real to us, and the
19 Commission's 1997 guidance where they essentially put
20 some fairly severe -- well, strict constraints, you
21 know, on where the staff should be going with what
22 their mission is.

23 And we need to remind ourselves to view
24 the volume of opinion cautiously in dealing with these
25 comments, that, you know, even though in some cases we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 get, you know, an overwhelming number of comments
2 expressing a certain point of view, that that doesn't
3 necessarily make that point of view, you know, more
4 valid than another point of view.

5 And I'll just end by, you know, saying
6 that if you're interested in looking at the actual
7 responses, there are several ways you can go about it.
8 You can go into ADAMS and do a Boolean search with
9 that inscription. They are also available on web-
10 based ADAMS. I have a few paper copies laying around
11 in my desk, if anybody is interested, and certainly we
12 can provide the accession numbers for -- you know, for
13 the specific responses, if you would be interested in
14 looking at them.

15 And with that, I will say thank you and
16 open it up to questions.

17 CHAIRMAN RYAN: Jim, thanks for a very
18 informative rundown on the information that you've
19 gathered and analyzed. I know you realize this, but
20 just for everybody's benefit, we need to always be
21 mindful of the fact that cost involves many
22 components. And there's the actual cost of disposal,
23 and then one significant driver is tax, particularly
24 in South Carolina where the tax is the tail wagging
25 the dog. The taxes are much higher than the cost.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So it's a driver that's kind of outside of
2 the realm of what does it actually take to dispose of
3 low-level waste in terms of financial resources.
4 There is a big tax issue.

5 MR. SHAFFNER: Right. And I know you've
6 often made the point of the distinction between cost
7 and price and --

8 CHAIRMAN RYAN: Cost and price is a big
9 difference.

10 MR. SHAFFNER: Right.

11 CHAIRMAN RYAN: And, of course, during the
12 period of compact development there was a nationwide
13 surcharge that dwarfed the cost.

14 MR. SHAFFNER: Yes.

15 CHAIRMAN RYAN: You know, the actual cost
16 part of the --

17 MR. SHAFFNER: That would be an
18 interesting discussion in and of itself, how that
19 all --

20 CHAIRMAN RYAN: No. I just wanted to add
21 that little dimension to the idea that sometimes
22 people think that cost is, you know, kind of like the
23 price of a can of soup. You really -- you know,
24 you're really paying a lot of different things,
25 including, you know, a whopping tax in the case of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 some low-level waste disposal facilities.

2 I guess, as you mentioned, we have
3 finished our low-level waste white paper. It's now a
4 NUREG document, I assume to hit the streets soon. We
5 are reporting our current status to the Commission
6 tomorrow, and, you know, which will involve just
7 reporting on our letter on the white paper and, you
8 know, recognizing that you've reported to us on the
9 stakeholder information.

10 And I guess sort of a general question is:
11 what's the path forward from here? Not necessarily
12 for us, but for all of us on the low-level waste
13 question.

14 MR. SHAFFNER: Are you asking specific, or
15 in general?

16 CHAIRMAN RYAN: No, in general. You know,
17 what do you see as the next steps? I mean, I -- my
18 own view is that, you know, NEI has come in and also
19 talked to staff about some of their interests and
20 initiatives that they're thinking about just last
21 week, so --

22 MR. SHAFFNER: Right.

23 CHAIRMAN RYAN: -- the dialogue is open
24 with a large segment of the industry, the largest
25 disposing site in the industry, of --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SHAFFNER: Well, as you know, from our
2 point of view, we're moving ahead with our strategic
3 assessment. And I -- you know, I'm --

4 CHAIRMAN RYAN: What's your schedule for
5 that, I guess is a better question.

6 MR. SHAFFNER: Well, I guess I'm going to
7 defer to my supervisor --

8 CHAIRMAN RYAN: Okay, sure.

9 MR. SHAFFNER: -- Ryan White to address
10 that.

11 CHAIRMAN RYAN: Hi, Ryan. Welcome.

12 MR. WHITE: Hi. Ryan White, Chief of the
13 Low-Level Waste Branch, Division of Waste Management
14 and Environmental Protection.

15 We're in the process right now of drafting
16 the Commission paper. We've got a few more
17 interactions to have with some states. As Jim
18 mentioned, we're going to talk to the State of Utah
19 today, the State of Tennessee I think in the next
20 week.

21 Then, you know, we're in the middle of the
22 process of actually now doing an analysis, looking at,
23 you know, based on all the information we gathered,
24 not just from the Federal Register notice, but from
25 our own insights, from discussions with you, and other

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 folks, what potential activities we'd be looking at
2 over the next few years.

3 And, you know, I think really the crux of
4 the Commission paper is going to be a binning of
5 potential things we could do, probably high, medium,
6 and low priority. I mean, we're not going to try to
7 say from 1 to 25, this is -- these are the things we
8 want to work on in the next five years.

9 Those will be the more, you know,
10 proactive activities, things like guidance for
11 20.2002, guidance for 61.58, working on the DU
12 question that the Commission asked us relative to the
13 LES hearing.

14 Of course, you know, a big part of our
15 program right now given the resources we have is just
16 simply reactive work. So we want to be very careful
17 in what we commit to. You know, another thing that's
18 weighing at the present time, really, is some of the
19 discussions you're probably aware of on the passback
20 for '08 and the budget question that is looming out
21 there. That's going to really play into what kinds of
22 things we can tackle over the next few years.

23 Nonetheless, I mean, you know, this is
24 going to be summarized in the Commission paper. We'll
25 lay out some priorities and send it to the Commission

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for information. It's not going to be a vote paper.

2 CHAIRMAN RYAN: Is it of benefit for us to
3 -- when you have a -- you know, a solid draft, for us
4 to maybe have a chance to offer review and comment at
5 that point, or --

6 MR. WHITE: I think we discussed this a
7 month or two ago. I believe -- I didn't mention the
8 schedule. It's probably going to be early February of
9 next year that we'll have a pretty clean draft going
10 through our management concurrence. I thought when we
11 discussed this a while ago that it would be after it
12 gets through EDO review, that we would provide a copy
13 to you at the same time it goes to the Commission.
14 That's my recollection.

15 CHAIRMAN RYAN: Yes, that makes sense.
16 It's at least concurrent. So if we wanted to offer
17 comment, we could do that as they are considering it.

18 MR. WHITE: Yes.

19 CHAIRMAN RYAN: Yes, okay.

20 MR. WHITE: And I think we can do that.

21 CHAIRMAN RYAN: That's fine. That works.

22 You know, I just didn't want them to offer
23 you comment and then us, you know, get kind of out of
24 step, because we've been concurrent all along, which
25 has been effective for us and --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WHITE: Yes.

2 CHAIRMAN RYAN: -- and I think helpful to
3 you as well.

4 MR. WHITE: Absolutely.

5 CHAIRMAN RYAN: So that sounds good. I
6 think that's our next step. I don't know that we need
7 to offer you any particular comment on today's
8 presentation in letter form. You're reporting on
9 what's in the record already, so --

10 MR. WHITE: Yes.

11 CHAIRMAN RYAN: -- I see our next step,
12 then, is come about February to offer any comment or
13 additional insight on the paper.

14 MR. WHITE: Sounds good.

15 MR. LARKINS: Can I ask a process
16 question?

17 CHAIRMAN RYAN: Please, yes.

18 MR. LARKINS: Curious -- do you have a
19 formal process for dispositioning these comments that
20 you have received?

21 MR. WHITE: It is not going to be like we
22 would do in a NEPA-type process. So we do not intend
23 to go through comment by comment and mention how they
24 were dispositioned in that manner. We are going to
25 present in probably an appendix to the Commission

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 paper a summary of -- kind of as Jim has done here --
2 some of the major themes, and then how those were
3 addressed in the paper. But we didn't want to commit
4 to a comment-by-comment resolution.

5 MR. LARKINS: I was just curious, because
6 you're going to prioritize, obviously, and then how
7 you were going to do that.

8 CHAIRMAN RYAN: John, to that end, one of
9 the things that I hope is useful to you, particularly
10 on some of these points that you've mentioned -- and,
11 Jim, you've summarized on compacts and other issues --
12 we have tried to very faithfully and accurately
13 portray the history of all of this from a factual
14 standpoint without opinion in this NUREG document.

15 So as that hits the street, hopefully that
16 will serve as a source to you as you write your
17 Commission paper. And in some of the areas where
18 there have been comment, there is kind of the factual
19 history laid out there as well that you could also
20 integrate into your review of comment. And I'd offer
21 that to you.

22 MR. WHITE: Yes.

23 CHAIRMAN RYAN: And, again, I appreciate
24 the review that -- Jim Kennedy and others have helped
25 that become a better paper. So, with that, Jim? Oh,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I'm sorry. Mike?

2 MR. LEE: Oh, I'm fine.

3 CHAIRMAN RYAN: All right. Jim?

4 MEMBER CLARKE: Okay. Thanks, Jim. One
5 of the -- we had a -- let me back up. In November, we
6 had a working group meeting on decommissioning lessons
7 learned. And just to comment, one of the things that
8 came out of that, we were talking about cost earlier,
9 is that the experience to date is showing that
10 transportation is a whopping component of waste
11 disposal -- total waste disposal costs and
12 decommissioning. I just thought that's a piece that,
13 you know, fits into here as well.

14 MR. SHAFFNER: Yes, it does. And I think
15 I alluded to the fact that some people did raise --
16 you know, in a little different context than what you
17 are right now, but certainly raised that concern.

18 MEMBER CLARKE: The other thing, in your
19 listing of what doesn't work or needs improvement,
20 complex mixed waste, right below that is interagency
21 communication. I suspect they might be related, but
22 I just -- I don't want to distract us too much, but
23 could you give me a -- or give us just a brief summary
24 of where that -- where mixed waste is right now. I
25 understand there are certain RCRA sites, permitted

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sites, that will take it. Is that correct?

2 MR. SHAFFNER: My understanding is on a
3 case-by-case basis that's true. But I think the -- of
4 course, EPA was in the process of, you know, starting
5 a rulemaking a few years ago that would I guess more
6 -- you know, codify that process. Right now, you
7 know, we -- you know, the path forward seems to be on
8 a case-by-case basis through --

9 MEMBER CLARKE: We had a presentation on
10 that. It was well over two years ago, I think. I
11 just -- on advanced noticed of proposed rulemaking.

12 MR. SHAFFNER: Right. And, of course,
13 they -- my understanding is they got derailed because
14 of the Yucca Mountain standard.

15 MEMBER CLARKE: So it's case by case.

16 MR. SHAFFNER: For right now, yes.

17 MEMBER CLARKE: Okay. Thank you.

18 CHAIRMAN RYAN: Ruth?

19 MEMBER WEINER: Just to pick up on Jim's
20 comment on transportation, we tend -- it is a very
21 high cost, and from my perspective we tend to
22 overpackage low-level waste for transportation. And
23 one of the problems there is there has been virtually
24 no testing of low-level waste packaging. All our
25 testing is focused on Type B casks, high-level waste

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 packaging. I'd just leave that with you as -- as a
2 thought.

3 CHAIRMAN RYAN: I've got to jump in, Ruth.
4 There is a lot of low-level waste package testing.
5 There's a branch technical position on wasteform and
6 waste packaging, including four basic criteria for
7 B waste packages, and perhaps --

8 MEMBER WEINER: I said B waste.

9 CHAIRMAN RYAN: -- by degradation -- well,
10 B and C and A as well. Some A waste goes into HICS as
11 well. So it's -- that's a little bit of a sweeping
12 statement. I think there is a lot also in terms of
13 transport units. There's an awful lot of low-level
14 waste that goes in Type B casks, and Type A casks,
15 which also come with a pedigree, including a
16 certificate of compliance from the NRC.

17 MEMBER WEINER: Yes. Yes, I recognize
18 that they all are certificated. This is -- I think
19 this makes the point that I think we need to look at
20 the extent to which we are excessively packaging low-
21 level waste for transportation, and to the extent to
22 which it -- we could reduce the cost of low-level
23 waste transportation by looking -- taking another look
24 at packaging.

25 CHAIRMAN RYAN: Well, and again, I'd have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to say most A waste, most not -- I guess by volume
2 probably most, but most A waste comes in 55-gallon
3 drums and B-25 boxes.

4 MEMBER WEINER: Yes. But that --

5 CHAIRMAN RYAN: By either flatbeds or
6 regular vans. So I would -- before we make a
7 recommendation to staff, I would say we need to really
8 be clear about the profile of what waste and what
9 volumes and what number of trucks go by different
10 routes and modes.

11 For example, most of the material, I'm
12 going to guess on a volume basis, it goes to the
13 Energy Solutions site in Clive, Utah, goes on
14 railcars.

15 MR. SHAFFNER: Right.

16 MEMBER WEINER: Yes, it goes to --

17 CHAIRMAN RYAN: Standard rail cars.

18 MEMBER WEINER: Yes. The Energy Solutions
19 site goes by rail. An awful lot that goes to the
20 Hanford site goes by truck. It's -- you know, it just
21 strikes me that the cost of transportation is very
22 high.

23 MR. SHAFFNER: The cost -- I think a lot
24 of it is a function of the distance that the material
25 has to move.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WEINER: Well, yes. It is the
2 distance, and, of course, the distance to any one of
3 these western sites is enormous.

4 Moving to another topic, when we had the
5 work -- the working group session, we heard from the
6 gentleman from Harvard that the cost of B and C
7 disposal and the lack of B and C disposal facilities
8 was a problem for medical uses. And I hear you say
9 that the utilities say it's no problem. Where is NRC
10 in this?

11 MR. SHAFFNER: Well, I don't -- I think we
12 certainly can see the viewpoint of both -- you know,
13 the utilities certainly have the kind of
14 infrastructure and training and capability to -- you
15 know, to manage this material.

16 And we are in the process now of, as part
17 of our nascent effort to revamp our storage guidance,
18 to get out and, you know, find out specifically what
19 some of the materials -- what kind of -- what kind of
20 challenges some of the materials are -- materials
21 users are being faced with with respect to storing
22 this material.

23 MEMBER WEINER: And what -- was the lack
24 of B and C disposal for medical uses, was that
25 addressed in any of the comments?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SHAFFNER: Yes.

2 MEMBER WEINER: Okay.

3 MR. SHAFFNER: Yes.

4 MEMBER WEINER: That's good to know. It
5 didn't show -- didn't rise to the level of your
6 presentation. Did anybody -- was anything said in the
7 comments that might lead to elimination of the greater
8 than Class C category? Did anybody address that?

9 MR. SHAFFNER: Not specifically. I think
10 there was some elusion to availing ourselves of the
11 greater flexibility in the regulations that might
12 allow some material that would be considered, from a
13 classification standpoint, greater than Class C to
14 allow it to be disposed of as, you know, traditional
15 low-level waste. But nobody offered a magic bullet
16 for making greater than Class C go away.

17 MEMBER WEINER: Yes, that was something
18 that occurred to me. Other than the use of 61.58 as
19 a --

20 MR. SHAFFNER: Well, and then the other
21 direction, the kind of observation that, you know,
22 basically it should go to Yucca Mountain and,
23 therefore, be disposed of as high-level waste. But
24 I'm not sure that --

25 MEMBER WEINER: That sort of doesn't make

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it go away either.

2 MR. SHAFFNER: Yes.

3 CHAIRMAN RYAN: Jim? I think there is an
4 answer to your question, Ruth. You did mention that
5 an Academy report mentioned license conditions and
6 guidance and other forms of dealing with these
7 questions, and I can tell you from first-hand
8 experience there are an awful lot of license
9 conditions that address the areas of medical as kind
10 of an ill-defined category, but, nonetheless, one that
11 people throw around.

12 Sealed sources that are high in
13 concentration but low in activity -- you mentioned
14 that phrase yourself. And I think a lot of the
15 concern is that while it's Class C by concentration,
16 well, that doesn't mean it's high risk. And I think
17 a lot of the smaller quantity sources that happen to
18 be high in concentration have been handled for
19 disposal at different -- at many licensed disposal
20 facilities by specific license condition for specific
21 sources or categories of sources --

22 MR. SHAFFNER: Right.

23 CHAIRMAN RYAN: -- or quantities of
24 sources. And that's a fairly straightforward way to
25 -- that it has been routinely handled, frankly, for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 decades, as you well know.

2 MR. SHAFFNER: Yes. Yes.

3 MEMBER WEINER: Could you expand a little
4 bit on the no competition in high cost? Do you mean
5 no competition for disposal sites? I'm not sure what
6 you mean by "competition."

7 MR. SHAFFNER: I think the -- I'm
8 obviously paraphrasing it and speaking for a couple of
9 different commenters here. But I believe it was just
10 the whole idea that the free market system doesn't
11 really apply to low-level waste disposal in this
12 country, in that folks are somewhat constrained.

13 And I'm -- I have to say that I'm not sure
14 I completely agree with the comment as it was made,
15 because I think there's other factors involved. But,
16 again, I'm just reflecting the comment at this point.
17 But I believe it was the idea that the -- that the
18 lack of a free market system, you know, to -- and
19 there's a number of aspects of that.

20 It's not just the -- you know, the compact
21 system that inhibits that, but also the fact that the
22 kinds of volumes that are out there now are not really
23 driving people to -- you know, to want to invest in
24 the development of a low-level waste disposal
25 facility.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now, there have been those who have
2 offered the opinion that perhaps that situation will
3 change as decommissioning occurs, and there are
4 tremendously high volumes of waste that may represent
5 a fairly lucrative economic opportunity for an
6 entrepreneur down the road.

7 MEMBER WEINER: That's an interesting
8 comment. Finally, having looked at this for more than
9 two decades, did you get any sense from the public
10 interest group comments, any sense of the rationale
11 behind the NIMBY reactions to siting a low-level waste
12 facility?

13 And I ask this question because having --
14 if I go back to 1980, recognizing that I'm pretty old
15 anyway, in 1980, this was something of a surprise,
16 even to those of us in the -- active in environmental
17 organizations, that all of a sudden there seemed to be
18 this NIMBY reaction. And I just wondered if there
19 were any insights in the comments that could explain
20 this.

21 MR. SHAFFNER: Quite frankly, I did not
22 see any. I pretty much saw the same type of reaction
23 that I'm accustomed to have seen in the last couple of
24 decades on this subject. I really didn't see any
25 additional insight as to why the -- other than

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 references to things -- I think I alluded in my
2 comments, the concern for the -- you know, the fact
3 that we have not properly accounted for the
4 synergistic impacts of, you know, all types of
5 hazards, and that sort of thing. But, you know, I
6 can't make a whole lot out of that.

7 MEMBER WEINER: Thanks.

8 CHAIRMAN RYAN: Allen?

9 VICE CHAIRMAN CROFF: In standing back
10 from your presentation, I was I guess a little bit
11 surprised that there wasn't more I'm going to call it
12 overt mention by commenters of waste classification,
13 or, you know, changing waste classification, fixing
14 the system. You know, you had, you know, a couple of
15 bullets on it there that somebody sent in, but --

16 MR. SHAFFNER: Do you mean --

17 VICE CHAIRMAN CROFF: -- not --

18 MR. SHAFFNER: Go ahead. Keep asking your
19 question. I'm going to go back to my base document
20 and see whether I just didn't -- whether I just didn't
21 over --

22 VICE CHAIRMAN CROFF: I see a fair amount
23 of sort of, you know, indirect reference to it. When
24 you start talking about 61.58 and this kind of thing,
25 and aligning risk with, you know, disposal, that sort

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of gets to it. But I guess the real question is: is
2 my takeaway message, or my observation, correct, I
3 mean, that people just don't seem to be interested in
4 directly confronting that issue?

5 MR. SHAFFNER: Well, I may have
6 underrepresented the concern, because I do have 11
7 specific comments here that are related to -- that I
8 binned as, you know, waste classification issues. So
9 I think that for folks who, you know, have to deal
10 with radioactive material, I think, you know, it is
11 something that they're concerned with, as opposed to
12 folks who are generally opposed to dealing with
13 radioactive material.

14 VICE CHAIRMAN CROFF: I'll infer from your
15 comment that most of those 11 favored trying to change
16 something as opposed to the maintain status quo?

17 MR. SHAFFNER: They were certainly looking
18 to tweak -- I think the one I mentioned was adopt the
19 NCRP classification system, recognition that there are
20 inherently safe quantities of radioactive material,
21 there need to be tiered standards for a range of
22 material.

23 Reclassification should be based on the
24 hazard life, on the negative side, or on the -- I
25 shouldn't say -- on the opposite side of the issue,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 opposition to any kind of a reclassification of what
2 would be perceived as high-level waste to low-level
3 waste. Looking at the need to update the
4 concentration averaging BTP.

5 CHAIRMAN RYAN: Allen, there's a couple of
6 examples outside of this sealed source business that,
7 you know, a Trojan reactor vessel is one where there
8 was a risk-informed consideration of how to classify
9 it, steam generators, which we heard just a comment
10 about yesterday, and also have been addressed in terms
11 of how they grout the tubes in place inside the foot
12 and a half thick vessel, and, you know, make it a
13 strong, tight container, and all of that.

14 So there has been a range of examples, I
15 think, where people have done that. So that's not
16 specific to what's the forward-looking view, but there
17 is a pretty robust body of evidence where that sort of
18 thinking has been applied on a case-by-case basis.

19 VICE CHAIRMAN CROFF: I understand. I
20 just wanted to see --

21 MR. SHAFFNER: And I'd remind you that it
22 didn't come out in these comments, or were not the
23 subject of today's discussion, but I believe, you
24 know, South Carolina has used some, you know -- in
25 certain cases has, you know, availed themselves of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 flexibility in 61.58 in order to allow the disposal
2 of, you know, some material in one well that otherwise
3 wouldn't have been disposed of.

4 VICE CHAIRMAN CROFF: Okay. Thanks.

5 CHAIRMAN RYAN: Thank you. Bill?

6 MEMBER HINZE: Jim, as you have studied
7 these comments, have you sensed that low-level waste
8 problems jeopardize the safety of the people of this
9 nation?

10 MR. SHAFFNER: I think there is a -- I
11 think that might be going a little far, but I
12 certainly think that there have -- that there were
13 things that were raised that would suggest that in
14 specific circumstances that may be the case.

15 A particular example that comes to mind is
16 in the case of the U.S. military where they have a
17 situation where they have lots and lots of little bits
18 and pieces of radioactive material that they may be
19 forced to store at various and sundry venues. And
20 there's a concern certainly about, you know, worker
21 safety and that sort of thing.

22 There is a general concern, particularly
23 with regard to sealed sources, that this is material
24 that is particularly troublesome from the standpoint
25 of a -- you know, a radiological dispersal device.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And, you know, that didn't come through overtly in the
2 comments, but certainly it was sort of a -- you know,
3 sort of a subtext.

4 MEMBER HINZE: Well, one of the things you
5 mentioned here in the concerns is that some licensees
6 are not -- may not be equipped to store.

7 MR. SHAFFNER: Right.

8 MEMBER HINZE: That has been a concern of
9 mine for some time as -- being in university and other
10 institute research labs, to make certain that these
11 indeed do have a proper facility for storing. Do you
12 have any further comments on that from the comments
13 you have received?

14 MR. SHAFFNER: I'm trying to decouple my
15 experience working with our internal task force on
16 control of radiation sources, where clearly there is
17 a decided opinion on that, and what I actually
18 received from -- you know, from these comments. And
19 I would have to say that while, you know, certainly
20 such a concern has been broached in other venues, I'm
21 not sure it was a specific theme of these comments.

22 I mean, the idea that in research
23 facilities that you have juxtaposed some disused
24 sealed sources, sometimes in devices, sometimes not,
25 that people just don't have the capability of getting

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 rid of, coupled with the influx of lots and lots of
2 folks who may or may not be the right folks to be, you
3 know, around such material, has been a concern that,
4 you know, has been expressed in other -- you know,
5 other activities, not necessarily in these comments.

6 MEMBER HINZE: And another one of those
7 areas that has popped up is the one that was brought
8 up by Jim Clarke, and that is mixed waste. Jim talked
9 about the interagency communication problems. Did you
10 get a sense of -- in any detail of where the problems
11 -- where the public sees or the agencies, etcetera,
12 perceive problems with mixed waste? Where are the
13 problems with mixed waste today? Is it this problem
14 of a case-by-case -- getting some qualification on a
15 case-by-case basis? Is this overly bureaucratic,
16 difficult?

17 MR. SHAFFNER: I think that was the
18 overarching concern, the fact that in a lot of cases
19 you're dealing with material that, you know, the
20 hazard, you know, may be overwhelmingly in one
21 direction or the other, and, therefore, it would seem
22 intuitive that the path forward ought to be, you know,
23 in a particular direction.

24 And, of course, EPA was, you know -- you
25 know, in the process of correcting that situation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 somewhat with their conditional exemption rule that
2 would allow the material to go to low-level waste
3 sites, which one of the concerns that was expressed is
4 the uneven implementation of that regulation by
5 different states. And, of course, the effort that is
6 -- has been, you know, not terminated but certainly
7 postponed, you know, to allow waste to go in the other
8 direction.

9 But I think the perception was, here you
10 have material for which the hazards are easily
11 recognizable. There would seem to be a -- you know,
12 a pragmatic path forward for the material, and yet
13 because of some of the hurdles -- I mean, some of the
14 conflicting authorities, you know, it's somewhat more
15 difficult than that.

16 MEMBER HINZE: It's a bureaucratic
17 problem. I'll finish up with a question about volume.
18 You had some comments about volumes, and volume of
19 low-level waste seems to have reached some kind of an
20 asymptote. Is that based upon the cost of putting the
21 low-level waste in a repository? Or is that -- have
22 we reached a level of volume which is predicated by
23 how much we could decrease the volume?

24 MR. SHAFFNER: Well, I think it's somewhat
25 of a combination. I mean, the fact is that, you know,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the folks that deal with this stuff have been on the
2 case for a long time, and coming up with different
3 types of technologies that allow for volume reduction
4 and also processes that they are pretty well familiar
5 with.

6 So I guess it seems as though that we have
7 achieved some sort of a steady-state condition for the
8 time being, which is a combination of both, you know,
9 practices, you know, that allow less production of
10 waste and also, you know, ways of processing it that
11 will -- it's perceived that it will maintain, you
12 know, a steadiness for a while, until, you know, we
13 get into decommissioning mode, and all of a sudden,
14 you know, we have another whole category of waste that
15 comes into play.

16 MEMBER HINZE: Thank you very much.

17 CHAIRMAN RYAN: Thank you. Bill, that's
18 a great question. I think I recall, too, from a
19 couple of briefings we've had, or it may have even
20 been with some of the workshops, that the Corps of
21 Engineers has the fuse wrap sites, and they're sort of
22 hitting a plateau, and maybe even a downward trend in
23 their volumes.

24 Decommissioning volumes, of course, didn't
25 get realized, so that is going down. And even the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pressure of price on low-level waste disposal has
2 really created the volume reduction industry. So it's
3 -- I would say it's -- and correct me if you don't
4 agree, Jim, but my view is it's declining some at the
5 moment in terms of volume.

6 Now, interestingly enough, in terms of
7 disposed radioactive material, it's flat, because the
8 curies are basically all in Class C hardware from
9 powerplants, and that's a fairly steady volume --
10 steady quantity of radioactive material disposed,
11 so --

12 MR. SHAFFNER: Yes. And one thing I might
13 also point out in that aspect is, of course, some
14 people are deciding to store waste a business. You
15 know, they're not disposing of it on a voluntary
16 basis, because of cost of disposal.

17 CHAIRMAN RYAN: Just one last point on the
18 economics. I think it's important to realize that
19 this is a commercial business, and the barrier to
20 entry is a tremendous investment up front. I mean,
21 people talk about, and have talked about in the past,
22 hundreds of millions of dollars to license a site.
23 And it is exactly that. I mean, it's probably north
24 of \$200-, \$250 million.

25 MR. SHAFFNER: I think that would be a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 very, very conservative estimate.

2 CHAIRMAN RYAN: North of. I didn't say
3 how far north.

4 MR. SHAFFNER: Yes.

5 CHAIRMAN RYAN: But it's a big number, and
6 I think in terms of barriers to competition it's that
7 investment that people just -- it's very hard at 20 or
8 30,000 cubic feet -- you need to do the math -- what
9 you charge per cubic foot to recover your cost. It's
10 a big number.

11 MR. SHAFFNER: One of the big factors in
12 that cost -- and I'm sure you know this, Dr. Ryan --
13 is the time value of money. You know, because of the
14 fact that there tends to be -- and they are not
15 necessarily regulatory-driven, but driven by the
16 process, the fact that there is tremendous delays, you
17 know, in the licensing process, you know, through the
18 hearings, through intervention, through -- you know,
19 through that sort of thing, so that money that you
20 spend in year one, you know, doesn't, you know, get --
21 you know, its worth doesn't get realized until year
22 whenever.

23 CHAIRMAN RYAN: And that -- to me, that's
24 an interesting aspect of why new sites aren't here,
25 and, you know, this whole B/C thing, and access to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 capacity or access to capacity at a reasonable price,
2 and all those kinds of things get battered around a
3 lot. But I'm sure the staff has, you know, good
4 knowledge of all of those variables.

5 Mike, one last question before we break.

6 MR. LEE: Sure. GAO is doing a study
7 right now of best practices. Your Commission paper is
8 going to come out in February. What's the timetable
9 for the GAO study? Are you aware of that, and do you
10 think it might have an impact on what you might want
11 to say in terms of looking forward?

12 MR. WHITE: We actually had a call with
13 GAO last week on their statement of facts. They
14 didn't provide the findings of their report yet, but
15 they did provide the statement of facts that will be
16 the basis for those findings. I believe their target
17 is for their report to come out in January. Is that
18 right, Jim?

19 What they told us on that call, though, it
20 probably -- you know, I don't want to commit them to
21 this, but it's probably going to be really centered
22 around a survey that they did of about 18 foreign
23 countries on their low-level waste disposal practices.
24 And they're primarily just going to present the
25 results of that survey without tagging specific

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 agencies with recommendations that, you know, NRC
2 should do this, DOE should do that.

3 So I would say it wouldn't have a
4 substantial impact on the findings of our paper, which
5 are really oriented toward what specific activities
6 should the NRC staff work on over the next few years
7 to ensure a healthy regulatory framework.

8 CHAIRMAN RYAN: That's interesting. Most
9 of the countries they surveyed have a much different
10 waste regulatory structure than the U.S., so that
11 makes it apples and oranges to me.

12 MR. LEE: Turning to that paper, it seems
13 some of the things that have been talked about today
14 and at previous meetings kind of lay out a program for
15 the Committee -- I mean, for the staff right now. You
16 already kind of have an agenda.

17 Is it fair to say that your paper that
18 you're working on is also going to be kind of a vision
19 statement of, here are things that we could do, and
20 defer to the Commission on deciding whether or not the
21 Commission wants the staff to engage in these types of
22 activities?

23 MR. WHITE: It's probably not going to go
24 quite that far. As I said, it's not going to be a
25 notation vote paper. It's not going to be a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 revisitation of the '96 strategic assessment where
2 there really were about six programmatic options for
3 low-level waste, all the way from give the program
4 away to EPA to really become a proactive leader in
5 pushing a national strategy for low-level waste
6 disposal.

7 And the Commission chose a maintenance
8 mode, and so we're really going to propose living
9 within the resources and the scope that the Commission
10 gave us at that time. Having said that, you know, of
11 the things that are out there on our plate, things
12 like guidance for 20.2002, DU, etcetera, you know,
13 what do we view as the high priority, medium, and low
14 priority? And what do we think we can accomplish with
15 the resources we're given?

16 That's why I said, you know, the passback
17 is a big factor into that as well.

18 MR. LEE: Where I'm leading to with --
19 maybe the Committee may want to take up at a future
20 debate, a vision statement on low-level waste
21 nationally.

22 CHAIRMAN RYAN: Boy, that would be, as
23 they said in Lonesome Dove, a heck of a vision.

24 (Laughter.)

25 With that, I think we'll close for our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 break time, and we'll reconvene at, let's say, 10
2 minutes of 11:00, give that 15-minute break. At
3 10:50, we'll reconvene.

4 Thank you very much.

5 (Whereupon, the proceedings in the
6 foregoing matter went off the record at
7 10:33 a.m. and went back on the record at
8 10:50 a.m.)

9 CHAIRMAN RYAN: Can everybody move to
10 their seats, please? We'll come to order. The next
11 item on our schedule is an update on the conceptual
12 licensing process for Global Nuclear Energy
13 Partnership, GNEP facilities. And I'll turn the
14 meeting to our cognizant Member, Allen Croff.

15 Allen?

16 VICE CHAIRMAN CROFF: Thank you, Dr. Ryan.
17 Just a couple of words about what got us here. In an
18 SRM early last year, the Commissioners directed the
19 Committee, I'll call it "Get Smart on Fuel Cycle
20 Issues", in particular, the advanced fuel cycle issues
21 that are represented by acronyms like AFCI and GNEP
22 and good things like that. And we've been going
23 through a campaign of getting educated, first on
24 general background and then we've commissioned a white
25 paper to summarize that background and move forward

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 into describing what DOE might do and bring it down to
2 issues for the NRC, including licensing issues.

3 And the team, a couple members on the team
4 developing the white paper here today, Ray Wymer and
5 Howard Larson sitting there in the back, and John
6 Flack is part of the team also. He's on the ACNW
7 staff.

8 With that, coincidentally, the NMSS staff
9 has been working on a Commission paper of their own
10 trying to work through issues on how they think such
11 facilities might be regulated and with that, I've
12 driven just about beyond up to my knowledge base. We
13 have three people from FCSS that are going to talk us
14 through this. First, Joe Giitter sitting back here
15 and Stew McGruder and Amy Snyder up in front. And I
16 guess Joe, are you going to say a couple of things to
17 start with?

18 MR. GIITTER: Yes.

19 VICE CHAIRMAN CROFF: Take it away.

20 MR. GIITTER: This doesn't want to sit up
21 here. There we go. First, I wanted to tell you that
22 we appreciate the opportunity to discuss our thinking
23 in terms of developing a conceptual regulatory process
24 for GNEP. This started, officially anyway, back in
25 February of last when DOE announced, actually the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Administration announced the concept of GNEP and what
2 the goals were.

3 The big picture, the goals are essentially
4 you would have a series of fuel cycle countries and
5 you would have countries that are nonfuel cycle
6 countries. Fuel cycle countries would include the
7 United States, Great Britain, France, Russia, Japan
8 and they would be in a position to supply or lease the
9 fuel to developing countries or to countries that
10 don't have fuel cycle capability and then take the
11 fuel back as spent back and recycle it.

12 And the broader goals of GNEP are
13 nonproliferation. I'm not going to go into a lot of
14 detail on that, but what that boils down to for the
15 United States is as you will hear developing three
16 facilities as initial facilities. One is a recycling
17 or reprocessing facility. Another is an advanced
18 burner reactor that would burn the transuranic
19 actinides and there would have to be many of them
20 ultimately and then the third is an advanced fuel
21 cycle facility.

22 So this was announced back in February and
23 originally DOE was looking at more of a developmental
24 program or an R&D-type program and based on that
25 understanding we developed a Commission paper in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 spring and sent it up to the Commission, with some
2 options for how we would, what our role would be and
3 the staff requirements memorandum that we received
4 back from the Commission told us to go ahead and
5 develop a conceptual licensing framework with the
6 understanding that these facilities would eventually
7 be licensed by the NRC. And they'll work closely with
8 DOE as they move forward with this GNEP program.

9 Then in August DOE shifted gears to a more
10 industry-focused approach and as a result of that
11 we've had to rethink about what -- rethink what our
12 involvement would be in the GNEP program. And the
13 Commission paper that we're developing right discusses
14 the potential regulatory approaches under this
15 accelerated schedule and that's what you're going to
16 hear today. That's what Stew and Amy are going to
17 talk about primarily.

18 So we do welcome the opportunity to get
19 feedback from the Committee. Our current plan is to
20 get this Commission paper up to the Commission in
21 early January.

22 So with that, I'll turn the presentation
23 over to Amy and Stew.

24 MS. SNYDER: Good morning, everyone. Good
25 morning, Chairman and ACNW Members. Thank you for the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 opportunity for this presentation.

2 We'd like to talk to you today about our
3 potential regulatory framework options and some key
4 issues. As Joe just said, we were directed by the
5 Commission in May to develop a conceptual framework,
6 but since then as Joe explained, things have changed.

7 So DOE has changed their focus and they
8 have activities planned in '07 and '08 that may
9 significantly impact the pace of the regulatory
10 development for NRC.

11 I'm going to go over today some general
12 things about GNEP and then talk about the regulatory
13 options, present and future, and the time line for NRC
14 review and some key policy and technical issues.

15 DOE shifted their focus in August and this
16 represents their new approach. What they're intending
17 to do is have an industry-focused approach and there's
18 three facilities, the Consolidated Fuel Treatment
19 Center. I don't have a pointer. It's a CFTC. And
20 the ABR, Advanced Burner Reactor. They hope that they
21 can partner with industry so they'll be industry-
22 focused commercialized. Before August, they wanted --
23 their thoughts were that they wanted to do an
24 engineering design testing, engineering small-scale
25 testing, so now they're considering large-scale

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 testing.

2 And the third facility is the advanced
3 fuel cycle facility which is their R&D facility that
4 they hope to build and meet their R&D needs for the
5 next 50 years. They want to focus on research for the
6 R&D facility for the non-mature technologies. And
7 build the ABR and CFTC in parallel. And once of their
8 goals is also to co-locate the CFTC and ABR, if
9 possible.

10 And from what we understand DOE believes
11 that the most mature technologies for the ABR is the
12 sodium-cooled fast reactor. And for the CFTC the
13 UREX+1a, but they have not selected a technology yet.

14 (Pause.)

15 As I said, DOE intends to work with
16 industry on both the CFTC and ABR and the proposed
17 time in August they set out an expression of --
18 request for expression of interest for both
19 facilities. And in that, they were saying that they
20 were hoping to have the CFTC operational by 2018 and
21 the ABR by 2020. Now what we're hearing is, the time
22 frame is between 2020 and 2025.

23 So DOE intends to build the CFTC and ABR
24 in parallel and in June, one real hard date is June
25 2008, which the DOE Secretary will make a decision on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the scope of GNEP, the scope as far as is it going to
2 be R&D focused? Are they ready to go commercial or
3 not.

4 So June 2008 is not that far away and NRC
5 could receive an application as early as 2009, 2010
6 time frame.

7 MR. McGRUDER: We also point out that the
8 2008 date is also the date that they would like to
9 issue their final environmental impact statement for
10 the whole GNEP process of doing a generic or
11 programmatic EIS.

12 MS. SNYDER: That's important because what
13 they hope to have is the conceptual design, the EIS
14 and the location of where they would build these
15 facilities by June of 2008.

16 Yes, it is. Talking about timing, one of
17 the things that could happen is DOE may decide that,
18 you know, they might think that they could do this
19 work in phases. We've got spent nuclear fuel storage.
20 They'll be storage capacity at these facilities. And
21 Part 72 applies reprocessed uranium storage. Part 70
22 would apply and so forth.

23 But what we are very much aware of is that
24 if these facilities are going to be co-located, or
25 even if they're not, we need to be mindful that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there's -- we need to be mindful about the NEPA
2 boundary so we avoid improper NEPA segmentation. So
3 it's quite possible to do things in phases, but there
4 may be some complications.

5 So what are our regulatory options today
6 if we got an application in? Well, for spent fuel
7 reprocessing and fuel fabrication, we could use the
8 existing regulations. For example, 10 CFR Part 50
9 specifically talks about production facilities and the
10 reprocessing facility would fall into that. The
11 advanced burner reactor is a utilization facility, so
12 Part 50 would apply.

13 But the regulation Part 50 and the
14 guidance is focused on light water reactors. And it
15 has been applied before its doable, it's been done for
16 three proposed fast reactors: French River Breeder
17 Reactor, SAFR and PRISM, and then West Valley
18 Processing Facility. But the regulations would need
19 to be reviewed by section by section or case by case.
20 And we think that there would be a lot of perhaps a
21 lot of hard decisions would have to be made and
22 exemptions would come up. And so therefore it may not
23 be the most efficient and effective approach.

24 Part 70 licensing is designed for one
25 step, but allows two step by ceasing process and it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 applies to plutonium, uranium 233 enriched uranium.
2 And other materials that NRC determines to be
3 specially nuclear material. Subpart H was just
4 updated recently. It's risk-informed regulation,
5 performance based. It requires an integrated safety
6 analysis and a PRA is optional. It bins hazards and
7 likelihoods of those hazards. And it has been applied
8 to enrichment facilities like LES, USEC, and other
9 facilities like General Electric is coming in with
10 their SILEX application.

11 Six fuel cycle fabrication facility in MOX
12 uses Part 70.

13 MR. McGRUDER: Let me chime in on this
14 too. Obviously, you can go back, Amy, to the previous
15 slide. The special nuclear material determination
16 right now is obviously it's just materials listed
17 there. But obviously we're introducing a lot of
18 different isotopes, a lot of different elements that,
19 you know, we would have be responsible for and the
20 implications of the Commission, and I think we've
21 talked about this before. The implications of the
22 Commission deciding other material, especially nuclear
23 material, has ramifications around the world. There
24 would be a lot of debate, I'm sure, about how to treat
25 this material and I think like I've said we've

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 mentioned it before, but that's just one of the many
2 issues that we'll be talking with you a lot about, I'm
3 sure.

4 MS. SNYDER: And then we understand that
5 Part 53 is being considered. The Commission is
6 considering a new part 53 to regulate reactors to be
7 a performance, a risk-informed performance based
8 regulation. It may be technology specific or it might
9 be non-technology specific that's yet to be decided
10 and it's to integrate safety, security, and emergency
11 procedures. The RES staff, research staff, has
12 conducted public meetings and there's a comment period
13 that ends December of this year. And I believe in May
14 there will be a Commission paper on options for what
15 is appropriate, what the staff thinks is appropriate
16 for 53 development.

17 So our potential regulatory options in our
18 paper, alternatively, the staff could pursue efficient
19 rulemakings, and I want to bring your attention to the
20 fact that this SECY is an intermediate product. We're
21 looking at the regulations Part 70, 50, 52, 53. And
22 there are other parts of the regulation that are going
23 to be affected. And we know we need to incorporate
24 those, but we want a strategy from the Commission on
25 the framework.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So therefore, there are other parts like
2 physical security, MC&A, waste, that need to be
3 addressed but we intend to address with the Agency and
4 outside agencies after we get direction from the
5 Commission.

6 So we could pursue efficient rulemaking.
7 The first option would be revised Part 70 for
8 reprocessing facilities and remove the reprocessing
9 references in Part 50. This would include the spent
10 fuel handling, separations, vitrification and
11 fabrication. We could also look at crafting, the
12 revising Part 70 to allow for the concept of combined
13 license, the COL design certs.

14 We can consider, and we also want to
15 consider whether for these facilities, for the CFTC,
16 we would need to have additional quantification of the
17 ISA. We also could use Part 53, technology specific,
18 if it is decided that it's going to be technology
19 specific for liquid metal reactor framework for the
20 ABR. Or we could create a new part when we call that
21 5X. That would have to be a decision that the
22 Commission makes and it's really tied to the Part 53.
23 We would want to use what we could from Part 53 if
24 they decide that a part 5X is appropriate.

25 Another option would be develop a new GNEP

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 regulation, specific to technology. We would address
2 both the reprocessing facility and the ABR as an
3 integral unit. And we would also craft the process to
4 allow for the COL and the design certifications.

5 In this option we would pull in all of the other
6 regulations and put it into a contained one, self-
7 contained regulation to address waste management,
8 security and so forth.

9 And then the last option that we are
10 proposing is to develop a licensing basis document
11 specifically for these facilities, consider public
12 comment. And then have the Commission decide if they
13 want to issue an order or pursue rulemaking.

14 So the time line for the review, if we use
15 existing regulations, we could start upon when the
16 application is submitted. To pursue efficient
17 rulemaking or develop a new GNEP rulemaking, we think
18 we probably can get that accomplished within two to
19 five years, providing funding is authorized.

20 And if an order is chosen by the
21 Commission, then the staff would write a technical
22 requirements document or technical basis document,
23 hopefully before the license can then -- or after a
24 license application.

25 License application reviews have typically

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 taken 6 to 12 months. Before an application comes in
2 there's two licensing meetings. There's the pre-
3 submittal activities are about one to two years before
4 an application comes in and historically the process
5 has taken about two to three years for fuel cycle
6 facilities and two to three years for reactors. But
7 that can be longer if there's hearings and contentions
8 and longer if there's design changes and program
9 changes.

10 MR. McGRUDER: In the paper that we gave
11 you a draft of, you notice we have pros and cons for
12 all of the regulatory options. We try to get into a
13 little bit more details about why one option might be
14 better than the other option and I think a lot of it
15 comes down to kind of regulatory stability for the
16 applicant, knowing upfront what would be required.
17 There are advantages to that, depending on what
18 schedule DOE wants to pursue for various other
19 external reasons, obviously. But the issue of trying
20 to use existing regulations and getting through the
21 licensing process and then opening up contentions in
22 hearings about why existing regulation isn't
23 applicable to different designs is a real issue we
24 think. So that would, I think, you know, impact the
25 schedule for licensing these facilities.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So I think bottom line, you put the time
2 in up front to develop the regulations with input from
3 industry and the public or you can put the time in
4 afterwards to explain to everybody why what you did
5 was acceptable and as I said, there are a lot of
6 reasons and you might want to choose different
7 options, but we just want to kind of point out that
8 there are tradeoffs in the process.

9 MS. SNYDER: So as Stew said, what you
10 will see in the SECY paper as the options, but then in
11 an attachment we have pros and cons for each of those
12 options.

13 What the staff believes is that we need an
14 integrated solution for the Agency to ensure that the
15 regulatory infrastructure for reprocessing facility is
16 compatible with the ABR. So we will avoid orphan
17 technology. We think that there's going to be a lot
18 of fuel and material-driven issues that are going to
19 impact reactor performance and operations and that's
20 -- integration is very important.

21 MR. McGRUDER: We want to also, I think
22 Dr. Ryan has mentioned several times, we want to try
23 to take a holistic view of the process and try to
24 optimize the entire process, rather than optimizing
25 any one piece and to the detriment of the other

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pieces.

2 CHAIRMAN RYAN: I'm glad you mentioned
3 that. I think there's a couple of regulations that
4 were missing from your list, 61 and 63.

5 MS. SNYDER: Those are on my last slide.

6 CHAIRMAN RYAN: Okay, all right, great.
7 I'll wait, thanks.

8 MR. McGRUDER: We definitely have not
9 forgotten about them.

10 MS. SNYDER: So some of the key technical
11 issues that staff has to consider is the technology
12 differences. PUREX is a process that has significant
13 international commercial experience. It separates out
14 pure plutonium and that would mean more physical
15 protection and safeguard concerns. But it's
16 incompatible with DOE's nonproliferation goal for
17 GNEP. So that's not a negotiable item for DOE as we
18 understand it. It needs to -- PUREX would not work
19 for GNEP.

20 Also, the COEX process is another process
21 and it keeps plutonium mixed with uranium. It
22 separates out the transuranics, but it might be more
23 advantageous because of the physics of the core and
24 manufacturing of the fuel which is a process similar
25 to MOX, what we're reviewing now.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And if that process were used, it might
2 buy time until we get a better understanding of
3 neutronic behavior and mechanics for the transuranic
4 fuel.

5 MR. McGRUDER: We mention this because
6 it's been discussed by companies that are working with
7 DOE as an option, but implicit in this is that this
8 would be used in light water reactors now. It
9 manufactures MOX fuel essentially for burning and
10 existing reactors and the transuranics would be
11 separated and stored and then they could be used later
12 on. But this is not part of DOE's plans right now.
13 They're not opposed to it, but it's not part of what
14 they're proposing right now.

15 MS. SNYDER: And then the UREX+1a, as I
16 said earlier, DOE feels that this is the most mature
17 technology and this keeps the plutonium mixed with the
18 transuranics. Mechanical steps are involved in which
19 the transuranic fuel fabrication are not well
20 understood. The things that we need to consider are
21 the neutron enrichment, the high gamma and the high
22 radiation fuel. We think that significant work is
23 needed to understand the source term, long term
24 degradation of fuel.

25 Another process that I don't have on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 slide is PYRO processing. That's a dry process, but
2 to our understanding it's only been tested at the lab
3 scale and demonstrated for the process chemistry, but
4 additional work is needed to be done for that and
5 another issue is the viability, is it viable for
6 commercial industry at a commercial scale.

7 MR. McGRUDER: I think as we mentioned
8 before the UREX technology is what DOE is proposing to
9 recycle the fuel from commercial reactors for the kind
10 of a first recycle and PYRO processing is what they're
11 proposing to recycle the fuel from the advanced burner
12 reactor. And there are advantages and disadvantages
13 of both processes which Dr. Wymer has explained
14 obviously many times and I'm sure he'll talk about it
15 in your white paper. But I just wanted to mention,
16 those are the technologies under consideration and
17 they're quite different from what we reviewed so far.

18 MS. SNYDER: The other thing that staff is
19 realizing is that there's some key differences in the
20 materials that we would expect for such a facility for
21 a fuel reprocessing facility. There's going to be
22 irradiated materials that are going to be very
23 radioactive, self-heating and many isotopes. And it's
24 going to be different from what we're used to dealing
25 with. Thee's going to be large source terms, more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 actinides. We're thinking that we're going to have to
2 focus on -- pay attention to confinement and HVAC
3 controls. There's also the chemical processes that
4 are going to -- we're going to have to consider and
5 energy for dispersion.

6 And there will be waste forms. High-level
7 waste requires certification. So there's probably
8 going to be a vitrification process.

9 MR. McGRUDER: DOE has emphasized many
10 times that there will not be any liquid wastes stored
11 at these facilities. That's their goal anyway.

12 MS. SNYDER: There are some key health and
13 safety concerns with plutonium and transuranic
14 isotopes, the effects and magnitudes of hazards,
15 radiation, the alpha effects on material, gas
16 generation, contamination and movement, activation of
17 materials and the chemical toxic nature of the
18 process.

19 And then criticality is also going to come
20 into the picture that we're going to have to evaluate
21 from a safety standpoint.

22 MR. McGRUDER: This is one of the, I
23 guess, most important things that we were hoping to
24 get feedback from the Committee on is whether we've
25 captured all of the differences and all of the things

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that we should be concerned about. We want to make
2 sure we're not missing anything important. So we'd
3 really like feedback on this slide.

4 MS. SNYDER: For the advanced burner
5 reactor, we also think that there's going to be some
6 key differences. The system is going to call for fast
7 neutrons and there's going to be some other things
8 that we're going to need to consider and Joe Gitter
9 is going to discuss that.

10 MR. GIITTER: I just want to give you a
11 little bit of feedback. We met with DOE yesterday and
12 they brought in -- this is on the ABR and they brought
13 in some people from Argonne National Lab and some
14 other national labs who really spent their career
15 working on sodium cooled fast reactors. It was a very
16 interesting meeting and I worked at one point in my
17 career on Clinch River, so it brought back a lot of
18 old memories, but issues like thermal striping and
19 things I hadn't thought about for some 20 years.

20 It's a situation where I think for us to
21 review and NRC to review an application for a liquid
22 metal reactor or sodium cooled reactor, I think would
23 present a number of challenges. And I think some of
24 the challenges are knowledge management area. We had
25 very few people left in the NRC who have any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 experience in doing the licensing review of a sodium
2 cooled fast reactor or for that matter even understand
3 the technology very well. And in fact, we really
4 haven't licensed a reactor in the NRC for a number of
5 years. So that in and of itself is going to be a
6 challenge, but when you add in some of the
7 differences, the fundamental differences in technology
8 between light water reactors and sodium cooled fast
9 reactors, I think it presents some additional
10 challenges.

11 Just as an example, a lot of people who
12 are familiar with sodium cooled fast reactors are
13 concerned with the positive sodium void coefficient
14 and what that means for certain transients. But if
15 you look at it holistically, there's also some
16 advantages of sodium cooled fast reactors from a
17 safety perspective. For example, you don't need an
18 emergency core cooling system and standby readiness.
19 The system can operate at atmospheric pressure and you
20 have a set cooling margin of something like 600 plus
21 degrees Fahrenheit which is a substantial subcooling
22 margin.

23 And there's some other aspects of the
24 design that are more forgiving and they've made some
25 changes in the design. One of the things that we saw

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 yesterday was for the traditional beyond design basis
2 accidents like the unprotected loss of flow and
3 unprotected transuranic power accident. In the past,
4 those accidents would be very severe. And in fact,
5 for the unprotected loss of flow accident, you'd
6 actually have formation of a fuel vapor bubble that
7 would drive a sodium slug up to the reactor vessel
8 head and you were worried about the integrity of the
9 reactor vessel head. That was one of the big issues.
10 It was called hypothetical core disruptive accidents.

11 With the changes in the design, you know,
12 they've incorporated radial and axial expansion of
13 the core and design your reactor so you never have
14 boiling, you never get to the boiling point so you
15 eliminate those types of transients. There's still
16 the kind of transients that I'm talking about would
17 involve a complete loss of flow with a failure to
18 scram which is a pretty severe transient. But the
19 consequences of those types of transients are much
20 less.

21 But you know, our entire infrastructure
22 for reviewing reactors under Part 50 is based on light
23 water reactors. The Standard Review Plan is written
24 for light water reactors. The point is there would be
25 a challenge and I think for that reason what the staff

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 believes anyway is that looking at a more performance-
2 based risk-informed type rule that probably
3 incorporates some of the deterministic general design
4 criteria requirements as applicable, might be the
5 right way to go.

6 MS. SNYDER: The other thing that we are
7 aware of is that there are a lot of unresolved issues
8 on the NRC sponsored review for the Clinch River
9 Breeder Reactor and PRISM that need to be addressed,
10 if this goes forward. And as Joe said, many of the
11 light water reactor requirements would not apply. And
12 there's inherent reactivity feedback differences that
13 need to be looked at.

14 And then, of course, with both of these
15 facilities, the scale up factor have not been
16 demonstrated at a commercial scale, so the concern is
17 how are they going to take a leap from laboratory to
18 a larger scale.

19 MR. McGRUDER: That leads perfectly into
20 this.

21 MS. SNYDER: So other key technical issues
22 for GNEP are the accuracy of codes, modeling and
23 validation. There's going to be a need for high
24 computing -- it's going to play an integral role in
25 GNEP. Model validation is going to be important for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 NRC. It's going to provide the reason for us to
2 believe in these codes. It's going to reduce
3 uncertainty and design margins and costs. But there's
4 also going to have to, we're going to have to look at
5 how they're analyzing data. What we believe is needed
6 is advancing the cross section data, not only for --
7 to get better data for principal radionuclides, but
8 also for some of the exotic ones.

9 There was some discussion about
10 safeguards. There's going to have to be development
11 of in-line instrumentation. As I said earlier,
12 understanding of scale-up factors and for industry,
13 the cost is it going to be economical?

14 Waste forms is an important issue. There
15 will be perhaps new waste forms developed. Process
16 losses, transuranic fuel performance is really going
17 to be key for the -- to the process as far as how many
18 times something could be recycled. Is the high burnup
19 going to be sufficient and what that means
20 economically.

21 Also DOE is talking about modularity for
22 the ABR, so there's going to some issues about heat
23 transfer, heat capacity.

24 Again, as we earlier said, we really think
25 that we're going to have to have an integrated systems

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 analysis approach because of the possibility that
2 these facilities are going to be co-located.

3 MR. McGRUDER: Even if they're not co-
4 located, I think it makes sense to take an integrated
5 approach.

6 MR. GIITTER: Just to add to that, from a
7 risk perspective it makes sense to look at the
8 integral risk of the facility and not look at it
9 piecemeal.

10 MR. McGRUDER: And once again, I'll put in
11 a pitch that these key technical issues, we'd really
12 like your feedback on whether we've captured the right
13 ones and whether we've missed anything in particular.

14 MS. SNYDER: Other potential issues, we've
15 grouped those in programmatic which we're going to
16 have to deal with now during the conceptual framework
17 development. In the future, there's going to be
18 specific issues. For example, a programmatic, as I
19 talked about there's different technologies and as Joe
20 discussed, we're going to have to think of how to
21 evaluate these systems. There may be different safety
22 approaches that we're going to have to look at, for
23 example, yesterday, we had a discussion with DOE and
24 they understand that they think that industry is going
25 to be using PRA, and PRA analyses for design, as well

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 as for safety, so to use PRA analysis for design and
2 to try to make that work for safety is going to be a
3 policy issue I think. We're going to have to address
4 that.

5 Also the GNEP approach and regulation, as
6 I mentioned earlier, depending on the progress, DOE's
7 progress, they might choose to phase their work and
8 that could add some additional policy issues.

9 Infrastructure needs, how are we going to
10 support the mission? Are we going to have the staff
11 and be able to do the work that we need to do with
12 competing priorities that are out there right now in
13 this time. So one of the programmatic issues is what
14 is the order, what's the priorities? What's the
15 priorities for GNEP with respect to other things that
16 are going on right now. And then the competition for
17 staff. And knowledge management.

18 Specifically in the future, the Agency is
19 going to have to look at things like financial
20 qualification, D&D funding and D&D requirements, how
21 does Price-Anderson fit in. The facility staffing for
22 these type facilities where is the staffing going to
23 come from and the expertise? Looking at how annual
24 feels factor in if these facilities go commercial.
25 And the advanced fuel cycle facilities is an R&D

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 facility, but from what we understand DOE says that
2 they want to -- once they have developed a technology
3 or a process, they want to incorporate it into the
4 existing facility. So that's going to mean that given
5 that we're going to have to look at ways of how are we
6 understanding the technology, but how are we still
7 keeping an arm's length distance in being a regulator
8 and keeping that independence.

9 Specifically for the commercial, for the
10 consolidated fuel treatment center, that's the fuel
11 separation and fuel fabrication center, CFTC, the
12 issue of PRA versus ISA, you're going to have to
13 address that, as I mentioned earlier. We don't have
14 enough information on these facilities, but we feel we
15 need to evaluate it because, as I mentioned earlier,
16 we do think we know a few things about what to expect
17 and how these facilities are going to be different
18 than what facilities that we've licensed.

19 So we need more specific information so that we can
20 make that determination.

21 The advanced burner reactor is going to be
22 a non-light water reactor. So we've already discussed
23 that. And we don't know at this point in time how
24 many reactors or how many facilities are going to be
25 built so the issue of standardization will probably

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 come up once with you and all that. And then funding
2 for the work that we're doing.

3 MR. McGRUDER: This slide, we've kind of
4 talked about each of these issues already, but we are
5 just going to kind of summarize it. These are the
6 challenges that we think we're facing now.

7 MS. SNYDER: What we need to do is
8 understand the technology. We need to have the
9 ability to independently assess from a safety
10 standpoint. We need to get our hands on the
11 confirmatory data at the appropriate time and analyses
12 and models and codes to make sure we understand those.
13 And we understand that there's a lot that still needs
14 to be developed so development research is going to
15 take time and it's going to need resources.

16 What we've been doing over the past six
17 months is we've been working with having technical
18 exchanges with DOE. In October of this year, we went
19 out to Idaho, staff went out to Idaho and we had a
20 technical exchange on the research and development
21 facility. Yesterday, we went to Germantown and talked
22 about the ABRs as Joe mentioned. And then the
23 Consolidated Fuel Treatment Center, the design team is
24 meeting this week in Idaho, but we're not attending
25 that meeting due to funding, so a to be determined

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 date, we want to have a technical interchange with
2 that team.

3 MR. McGRUDER: John Flack and Larry
4 Tavlarides were able to go out with us to Idaho and we
5 hope that the Committee can attend these future
6 meetings, if possible.

7 MS. SNYDER: So we're developing the
8 conceptual framework and in January, we hope to that
9 Commission paper to the Commission. But as I said
10 earlier, it's an intermediate product. What we hope
11 to by the end of Fiscal Year 08 is finalize the
12 conceptual framework, work with NRC organizations and
13 also work with external agencies to address the
14 factors of like MC&A, safeguards, waste minimization
15 and management, environmental impact, fuel integrity
16 and performance, fuel qualification issues and source
17 term. So that's where the Part 61 and 63 come in to
18 see how -- for the waste management and minimalization
19 see how that -- how our regulations relate to what
20 we're going to need for GNEP facilities.

21 CHAIRMAN RYAN: Thank you very much. Very
22 interesting. I think we'll move right into questions.

23 Bill?

24 MEMBER HINZE: There are many objectives
25 to GNEP and certainly one of them for the DOE is to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reduce the body of the waste. I guess my questions
2 are what does all this have to do with -- what's the
3 impact of all of this upon the type of waste that
4 might be brought to Yucca Mountain and if that becomes
5 the repository and if that is the case, will it call
6 for the NRC to have another licensing and if so, will
7 that be effected under 63?

8 MS. SNYDER: The licensing of another
9 facility, is that what you mean?

10 MEMBER HINZE: No, at Yucca Mountain.
11 Would you have to relicense Yucca Mountain to take
12 into account the new waste? Would you have to
13 consider the new preclosure facilities as well as the
14 repository configuration, tunnelling, etcetera?

15 What kinds of wastes -- how will this
16 waste differ in terms of its impact upon the
17 repository itself? How will this differ from the
18 waste that we're now planning to put into the
19 repository? There are a whole series of derivative
20 questions --

21 MR. McGRUDER: Oh yes.

22 MEMBER HINZE: -- that come from this and
23 we're the waste committee, so please, I don't think
24 you really attacked at all the critical questions that
25 would reside in the mind of someone that's looking at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this from a waste aspect.

2 MR. GIITTER: I think I can address your
3 question and it's a very good question and I'll start
4 off by saying we've been asking DOE the same question.
5 But the overview, in a nutshell, if you assume that 20
6 percent of the electricity in the United States is
7 generated by nuclear power for the rest of the
8 century, you would need multiple high level waste
9 repositories. The numbers, seven, eight, nine. And
10 that's assuming you have the 70,000 metric ton
11 capacity of Yucca Mountain. Others, a lot of
12 discussion of what the real capacity of Yucca Mountain
13 is and it's probably not 70,000. It's probably a lot
14 more than that, but we don't know.

15 As far as whether DOE is redesigning Yucca
16 Mountain for the GNEP concept, the answer is no. They
17 GNEP people have been talking to the people at DOE
18 responsible for Yucca Mountain, but then they are
19 aware of the work that's going on with GNEP and they
20 are talking to each other, but at this point to our
21 knowledge and to my knowledge anyway, there is not an
22 effort on-going to redesign Yucca Mountain for the
23 GNEP concept at this point, although, as I understand
24 it, they're looking at that.

25 MEMBER HINZE: What are the implications

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in terms of regulatory framework that would be
2 developed by the NRC? Would you -- if there is a --
3 if this waste does go into the proposed repository,
4 would you -- are you thinking about changing 63 or
5 will we have a new 63?

6 MR. GIITTER: I think you'd have to have
7 a new Part 63 to address that. There's no question
8 about that.

9 MR. McGRUDER: We haven't gotten that far
10 though.

11 MR. GIITTER: But we have asked that
12 question to DOE and the answer they gave us, the very
13 short answer was right now they're not actively
14 redesigning Yucca Mountain for GNEP. Now if GNEP
15 proceeds as planned, I would assume they're ultimately
16 going to be doing that, but right now their concern is
17 being able to submit a license application for the
18 NRC, June 30th of 2008 and that's their focus.

19 MS. SNYDER: And so that issue is going to
20 probably come up in the future and we're going to have
21 to address that. I think there may be a policy issue
22 specifically for if the waste cap is lifted and a
23 couple of weeks ago DOE gave a presentation at the
24 National Academies of Science and Edward Strote said
25 that if the cap is lifted, he would hope that NRC

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 could determine what the limit would be. And then the
2 question, I think comes up is well, if GNEP is moving
3 forward, is it something that NRC is going to be
4 asking or is it -- it's probably going to be a policy
5 issue.

6 MR. McGRUDER: This is a goal of GNEP is
7 to have essentially only fission products go into the
8 repository.

9 MS. SNYDER: The other issue related to
10 waste is what happens if they don't build these
11 facilities in parallel and they just do one. What are
12 they going to do with the interim waste? Put it to
13 the side and then once they get up to speed with
14 transportation then you know deal with that. So those
15 are questions that we've asked DOE and they have not
16 been able to answer our questions yet.

17 MEMBER HINZE: I'll take just one more
18 moment. One of your slides here, Slide 18, shows
19 waste forms as one of the key technical issues. How
20 are you bearing in on this? How are you boring in on
21 this? How are you trying to get at this problem?

22 MR. McGRUDER: I think the point, what we
23 can do so far is kind of remind DOE to consider waste
24 forms.

25 MEMBER HINZE: This is just a place

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 holder?

2 MR. McGRUDER: Yes.

3 MS. SNYDER: Yes.

4 MR. McGRUDER: In Idaho, we talked about
5 the waste form and we actually had a really good
6 discussion about possibly changing the regulations to
7 be more risk-informed and to consider the actual form
8 of the waste rather than the originating or the origin
9 of the waste and DOE is very receptive to that.

10 MEMBER HINZE: Thank you.

11 CHAIRMAN RYAN: I'm going to pull a little
12 sharper edge on some of the questions that Bill asked.

13 I don't understand why we're not really
14 integrating 61 and 63 in a real serious way. We've
15 seen charts that show uranium is a high-level waste,
16 uranium oxide, which it's not, unless there's
17 something else in it. And when I asked the question
18 what's in it, they said TRU. How much? We don't
19 know. So it could be all the way up to high-level
20 waste or Class A waste based on how much.

21 So my point is the devil is in the details
22 with regard to partitioning, fractionation, whatever
23 you want to call it throughout these processes and I
24 think experience should teach us and maybe I'm wrong,
25 but my own view is that the experience tells us that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the waste issues drive the bus. What goes out the end
2 of the pipe has a lot of influence on how the process
3 is designed and operated.

4 To that end and again I may be off-base
5 here, but most countries that deal with reprocessing
6 have an intermediate level waste category. So there
7 is no -- there's something in between 61 and 63 that
8 everybody else figured out they needed and I think
9 you've alluded to a couple of the points that there
10 are radionuclides that are longer lived than what we
11 have now in the current profile, but are mobile and
12 problematic from a performance assessment standpoint
13 typically.

14 So that's -- do we need a new category of
15 waste management regulation? I don't know.

16 Now in part, I would think my head tells
17 me a lot of it can be handled between 61, particularly
18 if you look at 61.58, the principal criteria are met;
19 61.58 looks at alternate classifications. So there is
20 a basis there. And one that we actually recommended
21 for other issues in low-level waste. So it's not a
22 locked door. 63 certainly could be addressed in terms
23 of what really is the high level part, so the answer
24 to my own question in my own question in my own mind
25 is I don't know yet, but I think that's one that needs

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to be on the table to get studied and the Commission
2 needs to give direction on how they want to evaluate
3 it, I think.

4 Leaving that, I would -- I guess I'll
5 never know the answer, but it would be interesting to
6 know if the plutonium inventories from reprocessed
7 fuels is being successfully used in MOX fuel. But my
8 question is is the plutonium inventory that's not
9 being used growing or are we -- you know, or is MOX
10 fuel being used or are we just building a plutonium
11 inventory that's not going to be effectively used in
12 a new generation of reactors?

13 MR. McGRUDER: You're talking about if
14 GNEP moves forward, how --

15 CHAIRMAN RYAN: No, I'm talking about the
16 French have been making MOX fuel for a long time. Did
17 they have a big inventory that can't get used or are
18 they selling all of it?

19 MR. McGRUDER: That's a good
20 question.

21 CHAIRMAN RYAN: Because that's a
22 fundamental question, I think, of how -- where all
23 that goes. So I'm just trying to understand the
24 drivers of a reprocessing facility, an advanced burner
25 reactor, and a next generation of light water reactor

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 or other kinds of reactors that use the fuel
2 materials. I'm not done yet. I'm just asking one
3 more question, and then you can have at it.

4 The last one is how many fast reactors
5 that use sodium are working in the world today?
6 That's an easy one. It's zero. Right?

7 MR. McGRUDER: No, that's not right.

8 CHAIRMAN RYAN: Power production?

9 MR. GIITTER: Not for power production.
10 This is off the top of my head, but the Russians
11 operate the BN600, which is a really fairly large fast
12 reactor. The Japanese operate JOYO, which is more of
13 a prototype. And the French operate Phoenix, which is
14 a prototype. In fact, DOE has just -- the NRC has
15 approved the export of lead test assemblies --

16 CHAIRMAN RYAN: That's good.

17 MR. GIITTER: To Phoenix for some of its
18 early transmutation.

19 CHAIRMAN RYAN: In Phoenix doing some
20 power in test reactor also?

21 MR. GIITTER: I believe it produces
22 powers. Not a lot. It's a small reactor.

23 CHAIRMAN RYAN: A small reactor. That's
24 another aspect, I guess, of my own mind. How do we
25 get to the scale of a bunch of burner reactors or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 many, and these are very practical kinds of questions,
2 but they sort of drift back to what's the regulatory
3 structure to handle all the practical questions.

4 MR. GIITTER: As far as the question about
5 the plutonium inventory, the advanced burner reactor,
6 of course, is designed to burn plutonium. So the
7 conversion ratio is less than one. It's not, you
8 know, back in the 1970s where the Clinch River breeder
9 reactor, the idea is to produce more plutonium than,
10 you know, more fuel than you consume. So the idea
11 here is actually to reduce the inventory of plutonium.

12 CHAIRMAN RYAN: The idea. But I really
13 wonder about it in practice, because the French have
14 been at this for awhile and I just wonder what the
15 experience is.

16 MR. GIITTER: Well, I think part of the
17 problem is the amount of reactors that utilize MOX
18 fuel.

19 CHAIRMAN RYAN: My point.

20 MR. GIITTER: Yes.

21 CHAIRMAN RYAN: So the inventory is
22 building up at the moment? I'm guessing --

23 MR. McGRUDER: I think to be fair, we have
24 to get back with you on that. I want to make we have
25 the right answer.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: Again, my whole series of
2 questions are designed to really sort of explore in a
3 real vigorous way some of the bases where bringing it
4 back home, if you will, the NRC is going to ultimately
5 have to have a regulatory framework to address all of
6 these issues, particularly the waste part, and 61, 63
7 and whatever is in between for an intermediate
8 category and a disposal, or disposition scheme, for
9 something that might look a lot different than
10 anything we regulate today. Thanks.

11 MR. GILLESPIE: Mike? Just
12 Just for your information. Actually, Catagua and
13 McGuire have mixed oxide --

14 CHAIRMAN RYAN: I know there's been a few
15 test elements that have come into the U.S. But I'm
16 looking at the steady state issue way down the line.

17 MR. MURRAY: Can I please comment on that
18 if I could please? My name is Alex Murray. Just to
19 let you know, the French experience is they have
20 approximately 30 reactors where they are recycling MOX
21 2, or plutonium and MOX 2 as one third course. If you
22 look at it on a large scale, again, we don't have the
23 specific values -- are they getting a net increase in
24 inventory right now or not? But on a large scale
25 implementation of MOX, there would be a net

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 consumption of plutonium.

2 CHAIRMAN RYAN: Well, that's a theoretical
3 point and not an actual data point. So I appreciate
4 the fact. That's the idea. But I wonder, just wonder
5 amongst us all here, in practice will not be achieved.

6 MR. MURRAY: Again, we have to look at the
7 actual numbers. The French plutonium, separated
8 plutonium inventory is relatively small.

9 MEMBER WEINER: To what extent are you
10 using the experience, or is DOE using the experience
11 of the FFTF of Hanford and EBR 1 and 2. And I might
12 point out, the FFTF wasn't operating of sodium cooled
13 reactor that was only not used for power production
14 because the utility chose not to use it for power
15 production. It could perfectly well have been used.

16 MR. GIITTER: That was talked about quite
17 a bit yesterday. There's a lot of good experience
18 with FFTF. It operated for over 10 years and there's
19 been lots of insights gained on materials, issues,
20 issues related to reactivity, core design. It had
21 many similarities to the Clinch River design. In
22 fact, we found out that the vessel for FFTF was
23 identical in design to the vessel for Clinch River.

24 MEMBER WEINER: Why did they shut it down?
25 Did you ask?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GIITTER: That was a policy decision
2 by DOE. And I think the official answer is that it
3 served its purpose. A lot of the work for FFTF, it
4 was designed to be kind of a prototype for Clinch
5 River. And when Clinch River never got built, a lot
6 of the reason for operating FFTF went away. They did
7 do some very interesting testing and analysis with
8 FFTF and they described that in yesterday's meeting.

9 MEMBER WEINER: Well, I would hope that
10 NRC could make use of some of that experience and not
11 get trapped into the fact that these people worked for
12 the Department of Energy.

13 MR. GIITTER: An important point that the
14 DOE made, and I think this was extremely fascinating.
15 Back in the early 1970s when DOE had an R&D program on
16 sodium and cold fast reactors, their annual budget was
17 on the order of \$600 million a year. And in today's
18 dollars, that would be probably well over a billion
19 dollars.

20 There is a lot of very valuable R&D and
21 research that has been done for FFTF, EBR 1. In fact,
22 we were out at the site of EBR 1 and they're currently
23 in the process of reprocessing the EBR -- I'm sorry --

24 MR. McGRUDER: EBR 2.

25 MR. GIITTER: EBR 2. So there was a lot

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of valuable experience there. And one of the things
2 we talked to DOE about was knowledge transfer and
3 knowledge management. When, you know, to use an
4 analogy that I mentioned before, back in the 1980s
5 when DOE developed the GSEP program, there was
6 obviously a lot of people who were familiar with
7 advanced centrifuge technology.

8 And, you know, throughout the years that
9 knowledge dissipated. USEC was fortunate when they
10 went to start up the centrifuge program again to hire
11 some of those people that had originally worked on the
12 GSEP program and then the advanced centrifuge program,
13 who some of them were retired. Some of them were
14 working at Oak Ridge National Lab in a completely
15 different area in the aerospace area because of the
16 applicability of high speed rotating machinery. And
17 they were able to get those people and use those
18 people to really build on what they were able to
19 accomplish before.

20 A very similar situation we see here with
21 DOE and the people at Argonne National Lab and other
22 labs who have experience with sodium cooled fast
23 reactors. So DOE has agreed to work with the NRC on
24 a knowledge management effort to try to get, to glean
25 some of that knowledge and build it into the NRC

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 knowledge base.

2 MEMBER WEINER: I think that's very
3 valuable. To move to another -- question.

4 MR. LARKINS: May I follow up on that
5 question?

6 MEMBER WEINER: Can I ask one more? It
7 will be quick. If you could go back to slide 16. You
8 said "Key ES&H concerns", I don't want to minimize the
9 chemical concerns. It's not so much chemical toxicity
10 as it is the fact that with nitrates, you're working
11 with potentially explosive compounds and you have the
12 possibility of very rapid exothermic reaction. And
13 the canyon processes were built to accommodate that.
14 My concern is NRC does not normally regulate chemical
15 hazards of this magnitude and type. Are you
16 considering any interagency cooperative, any
17 cooperation? For example, OSHA which does have this
18 kind of experience, any MOUs, that sort. I'm
19 concerned that the possibility of violent chemical
20 reaction may not be considered seriously enough.
21 These are not fun processes.

22 MR. McGRUDER: No, we understand them.
23 And actually we are addressing just those issues in
24 the MOX review, where you have the same chemicals. Or
25 essentially, the same mechanicals. And we did have an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MOU with OSHA, and we've been sharing a lot of
2 information and that's a very valid concern which
3 hopefully I'll talk about.

4 CHAIRMAN RYAN: Jim?

5 MEMBER CLARKE: I know we're almost out of
6 time, so let me just share an observation. I think
7 Dr. Hinze started a line of questioning and a line of
8 thought that's critical here. All of this it seems to
9 me to just beg for integration. You're going to get
10 an application for GNEP. You're going to get
11 applications for 30 commercial reactors or so, and
12 Yucca Mountain has been promised for June of 2008.
13 And somehow I don't know if the DOE is integrating
14 this or not, but I would suggest that the NRC would
15 want to look at that.

16 And just a final observation, the concept
17 of a TAD has always struck me as at odds with the
18 concept of GNEP. And there are things, there may be
19 other things that really need to be looked at. Thank
20 you.

21 MS. SNYDER: Thank you.

22 VICE CHAIRMAN CROFF: Thanks, Jim. I
23 think I'll take a turn here. I've got a couple
24 things. First, is it settled that the CTFC will be
25 NRC licensed?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. McGRUDER: If it's a commercial
2 facility, it will be licensed by the NRC. Yes.

3 MS. SNYDER: The DOE will make a decision
4 in June of 2008 on the scope of GNEP.

5 VICE CHAIRMAN CROFF: And that decision is
6 to whether it's a DOE facility or commercial will be
7 made at that?

8 MS. SNYDER: Maybe before that, but the
9 scope with respect to do they need to do more are more
10 research and development. Are they ready to take that
11 leap to partner with industry?

12 MR. McGRUDER: Their expression of
13 interest request right now, that they published this
14 summer, specifically said that they wanted vendors to
15 understand that this facility would be licensable by
16 the NRC. And if it's a commercial facility, it's
17 clear under the Atomic Energy Act that we would have
18 to regulate it.

19 VICE CHAIRMAN CROFF: Second, I guess an
20 observation stemming from your question, is anything
21 left out of a couple of lists like this and the one
22 preceding it. And sort of looking across the
23 presentation, my observation is that it sort of to me
24 reflects a little bit of reactor think. And what I
25 mean is there's a lot of emphasis on accidents. Now

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a reprocessing plant doesn't have the driving force
2 that a reactor does, the thermal energy. But also and
3 to my mind more importantly it's by definition it will
4 release or can release a number of radionuclides that
5 get a lot of people's attention real quick.

6 I'd like to reinforce what Mike said about
7 it raising a whole range of waste classification and
8 waste form issues, where there's a lot of TBDs. It
9 can be a complicating factor.

10 I would like to focus on the off gases.
11 The krypton, carbon 14, tritium, and iodine-129, that
12 are all volatilized and at least some have EPA
13 regulation now. Others are promised to be regulated,
14 but it didn't seem to make any sense nobody was going
15 to build a reprocessing plant in the 1970s. And I
16 think that deserves some early and serious attention,
17 because deciding how much of those things can go up
18 the stack was a very contentious exercise at the time.

19 That observation, having been made, what
20 is the path for? In other words, how is that decision
21 going to be made whether it's 99 percent or 90 or
22 three nines, or whatever its, where does the NRC fit
23 into this? Where does the EPA fit into this or
24 anybody else?

25 MR. McGRUDER: Your concern was I thought

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 represented very well by Dr. Tavlarides when we met
2 with DOE in Idaho, and we had a lot of good discussion
3 about that. I think that there's a lot of flexibility
4 on that right now. I think DOE realizes that they
5 need to work with us and the EPA to come up with a
6 proposal. I think they're going to do just that.
7 Once they know more about the design, they will
8 propose some thresholds and you know we'll kind of
9 work it out together. But the idea is to talk about
10 it early and make sure that everybody is on the same
11 page about that.

12 VICE CHAIRMAN CROFF: Does that mean that
13 the existing limits for what is it iodine and krypton,
14 I guess, are subject to change?

15 MR. McGRUDER: They're certainly open for
16 discussion, yes.

17 VICE CHAIRMAN CROFF: Okay. All right.
18 With that, Ray, do you have any questions?

19 DR. WYMER: I have one. I have one
20 observation.

21 VICE CHAIRMAN CROFF: Get closer to the
22 mic.

23 DR. WYMER: Fred Wymer, incidently, for
24 the recorder over there. You're really talking about
25 in a sense four reprocessing plants and not one. You

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have four distinctly separate processes going on
2 inside this plant which really complicates the
3 operations, which require a lot of attention I think
4 from the NRC and safe operations. And you're talking
5 about at least four different types of recycle from
6 the different kinds of solvents. It gets to Ruth's
7 point about toxic reagents. And it's a much more
8 complicated plant than a PIREX plant ever was. So I
9 think you need to keep in mind that you're dealing, in
10 a sense as I say, with four different reprocessing
11 plants and multiple new kinds of waste streams.

12 CHAIRMAN RYAN: Thank you. John.

13 MR. LARKINS: Just real quick. We talked
14 about knowledge management. I was going to mention
15 that you're probably well aware that there was a whole
16 group back in the 1970s that developed a lot of
17 information on phenomena associated with Clinch River
18 and were working on that intimately, and code
19 development and all of that stuff should be captured.
20 There's a few folks still around who have some good
21 working knowledge of that.

22 The other thing, I was noticing on page
23 four of vu-graph four, it says DOE intends to build
24 CFTC and ABR and start as soon as it can after June
25 2008. Is that correct? To build?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. McGRUDER: I guess your question is
2 whether DOE would build it or someone else would build
3 it?

4 MR. LARKINS: No, the bullet above that
5 could receive an application 2009-2010. It's almost
6 like that --

7 MR. McGRUDER: There would have to be a
8 licensing process.

9 MS. SNYDER: Yes, as soon as it could
10 after June 2008. So in other words, they want to get
11 the technology commercialized as soon as possible and
12 that June 2008 is a important milestone for DOE.

13 MR. McGRUDER: Yes, it's a good point.
14 They're not considering bypassing the licensing
15 process.

16 MR. LARKINS: It seems like putting the
17 cart before the horse. The other observation, you've
18 been talking about the difference between the ISA and
19 a PRA seems like you could use either, whether you're
20 looking both at having a reprocessing facility and a
21 reactor co-located on the site that the PRA could be
22 done for both facilities, and use one as initiator for
23 the others as part of your analysis. So I don't see
24 how why it precludes one or the other.

25 VICE CHAIRMAN CROFF: I think at this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 point, unfortunately, we're out of time and then some
2 and we have to reconvene promptly at one. So I'm
3 going to terminate the question and answer. Thank you
4 very much for an interesting presentation. We look
5 forward to seeing the SECY in January.

6 MR. McGRUDER: Thank you very much for
7 your help.

8 CHAIRMAN RYAN: I think in the interest of
9 not trying to squeeze everybody because the cafeteria
10 is a busy place, we will drift past one and reconvene
11 at 1:10.

12 (Whereupon, at 12:07 p.m., the meeting was
13 recessed, to reconvene at 1:10 p.m.)

14
15
16
17
18
19
20
21
22
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A F T E R N O O N S E S S I O N

1:08 P.M.

CHAIRMAN RYAN: All right, our other members are arriving so I'll make the introductions. We're here this afternoon to hear about Boral and dry cask storage systems. Our first presenter will be Chris Brown, Senior Staff Engineer from the ACNW. Mr. Brown, welcome.

MR. BROWN: Thank you. Good afternoon. What I would like to do this afternoon is to give you an overview of the issue, talk a little bit about what Boral is and some background on blistering, how blistering actually occurs. My presentation will be followed by the Office of Research in the order of Patrick Baranowsky, Deputy Director, Raji Tripathi, Senior Staff Engineer, and -- I'm sorry, reactor engineer. And also Dr. Hopper from Oak Ridge National Laboratory will talk about his technical analysis.

CHAIRMAN RYAN: Thank you all for being with us today. We appreciate it.

MR. BROWN: Basically, this will be the order of my presentation, and without any further ado I'm just going to go right on into the presentation. What is the issue? Well, before I talk about the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 issue I'd just like to mention that neutron absorbers,
2 as most of us know, are used for criticality control
3 and dry cask storage systems. B10 is generally the
4 principal absorber species. There are other neutron
5 absorbers that are available other than Boral. I'd
6 just like for you to note that.

7 However, we're going to focus this
8 afternoon just on the Boral material. And there
9 appears to be some notion that the experience that
10 occurred in Spain would actually occur in dry cask
11 storage systems in the U.S. And once you get a
12 blister, blistering could affect the neutron efficacy
13 of the material. And so that's going to be the whole
14 focus here and that was also the nature of the GSI.

15 I thought it would be very good to present
16 at least some regulatory background. I'll let you
17 read the one for 10 CFR Part 72. That's in dry cask
18 storage system. If you want to look at 10 CFR Part
19 71, there's a similar regulation for transportation of
20 spent fuel packages. But the staff had interpreted
21 these regulations to mean that the materials should be
22 durable and effective. What we mean by durability and
23 actually for the newer materials that we have
24 approved, we submit them through qualification tests,
25 which are just one time tests to ensure durability in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 which they're subject to radiation tests, water
2 immersion, and also temperature tests.

3 And of course after which you want to
4 check the neutron efficacy of the material and also
5 look at the optical properties of it, SEM, TEM,
6 etcetera. But the bottom line is you want the
7 material to be able to perform for the license period.
8 Also for license renewal, you want it to also be able
9 to perform.

10 This is just some general information
11 about Boral. Some have asked me about the density of
12 the Boral, what the dimensions of the plates that are
13 used inside of the canisters. And actually it ranges.
14 But I would like for you to focus on the next to the
15 last bullet, porosity in the core region. As we will
16 learn today, Boral is a very porous material and it's
17 subject to ingress of water when we go through the
18 short-term loading operations.

19 But Boral has been used for other three
20 decades. It's been a work horse for quite a long
21 time. We have a lot of experience about the material,
22 as I also mentioned, but there are other neutron
23 absorbers that are available for use.

24 Basically, this is what the Boral looks
25 like and I also have a sample of the Boral that I like

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to pass around to the Committee Members. This sample
2 has been subject to very extreme steam blistering,
3 very, very extreme. But I only submit that to you
4 just so you can get an idea to see what the texture
5 inside the core is like. But basically the material
6 is fabricated using B((40sub)C, boron carbide, and
7 aluminum powders. They're blended. The blending of
8 the powders are then placed into an aluminum box. The
9 box is sealed, and I'm giving you very rudimentary,
10 fast fabrication of this material. The lid is then
11 sealed. It's annealed and it's passed through rollers
12 and flattened.

13 Now the ends are cut off because that's
14 actually done to achieve the final dimensions for the
15 canisters. So you have these edges that are subject
16 to the ingress of water. Also, some believe that the
17 needs are also cut off to facilitate those regions
18 that are pretty low in B(10)sub. So as you can see
19 from this picture, you would do that to some void
20 spaces inside the core material.

21 Boral blistering, some have said that
22 there are two types of blisters that occur in Boral --
23 hydrogen blisters, which generally are associated with
24 the pooled storage. But also you have steam blisters,
25 and that's sort of the subject, the main subject about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 our concern today are the steam blisters.

2 I'll talk a little bit about the hydrogen
3 blister. Basically, the reaction is that when the --
4 and we've known for years, it's very rudimentary that
5 aluminum will generate hydrogen, small amounts of
6 hydrogen when exposed to water. The reaction that you
7 have is aluminum plus water yielding aluminum oxide
8 plus hydrogen. Now there's a little bit more to that
9 chemical equation, but that's just basically the
10 bottom line.

11 And when the canister -- actually, I
12 haven't gotten to the canister yet. This is actually
13 the hydrogen blister. But basically when you're
14 coupons are in the pool, because some utilities have
15 coupons are in the pool that they sample periodically
16 to test for the attenuation, water can actually be
17 absorbed into the pores. You have hydrogen cases
18 released. If the hydrogen generates a sufficient
19 pressure, because you have aluminum oxide -- is
20 present, you can actually get a blister on the
21 cladding. And it can occur from long term storage in
22 water, and it can also occur from repeated wetting
23 cycles. You have some tests that we've looked at in
24 which Boral has blistered due to repeated wetting
25 cycles.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The steam blister. Basically, one of my
2 colleagues to describe the steam blister as almost
3 like a tea kettle on a stove. Basically, what you
4 have is water ingress when the canister is inside the
5 -- being loaded, water will get inside of the Boral
6 panels. You have a pressurization occurring because
7 one of the steps during the short term loading
8 operations is that you have to perform a hydrostatic
9 pressure test of the lid. And that can force water
10 inside of the -- more water inside of the actual Boral
11 core. You have a vacuum drying, and most of the tests
12 that have been done they've used heaters to simulate
13 the vacuum drying.

14 And basically, if you have a high heat
15 uprate and a higher hydrostatic pressure, you can also
16 generate what's called a steam blister. We've known
17 about this for about eight years. This phenomenon has
18 occurred in Spain. The Spanish did test on a
19 canister. The U.S. also did a test, actually the
20 sister vender of this cast that was used in Spain, did
21 some evaluations of their material. They found their
22 material not to blister. They found some to blister.
23 Their notion is that if the B((4)sub)C content is very
24 high in the material, water will easily get out. That
25 means that you won't have enough time for the steam to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 occur. But if you have a low B((4)sub)C content,
2 which was in Spain, the type of material that was used
3 in Spain, the Boral will be subject to blistering.

4 Just some general information about the
5 hydrogen blisters. This is just a range, because a
6 lot of the information was proprietary. So this is
7 basically guessed information on hydrogen blister
8 dimensions and also steam blister dimensions. The
9 Agency has done some studies. EPRI has done some
10 studies. They produced blisters. The bottom line of
11 those studies is basically that the material does
12 remain effective as a neutron absorber. In other
13 words, the B(10)sub is still there and it's doing its
14 job. And basically, that's all I wanted to do is give
15 a brief introduction of this. And now I'm going to
16 pass this onto Patrick who will talk about the GSI
17 process.

18 CHAIRMAN RYAN: Patrick, I'm going to
19 guess it will be better to take -- best if you
20 probably go up there, because I think you're going to
21 be running your own slides.

22 MR. BARANOWSKY: That's what I was trying
23 to find out.

24 CHAIRMAN RYAN: There we go.

25 MR. BARANOWSKY: Good afternoon. This is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the first time I've been in front of the ACNW in my
2 more than 30 years at the Nuclear Regulatory
3 Commission, so I'm glad to say I've added that to my
4 experiences while working here. Chris did a really
5 nice job of describing the Boral operating experience,
6 and really appreciate that. Today I have, as Chris
7 mentioned, Raji Tripathi, who is the cognizant staffer
8 for taking in this issue through the generic issue
9 resolution process. And Calvin Hopper from Oak Ridge
10 National Laboratory who performed the technical
11 assessment to help us to come to the conclusions that
12 we're going to discuss at this meeting.

13 I'm sure you're probably familiar with the
14 generic issue program, but it's described in
15 management directive 6.4. We followed that directive
16 in both process and technical matters associated with
17 getting to this point in the process. I would like to
18 point out that our focus has been primarily on the
19 criticality implications of long-term storage of spent
20 fuel using Boral to maintain sub-criticality, and that
21 there are other issues associated with storage of
22 Boral that might raise some questions about
23 technological issues that could come up during its
24 storage that are not part of this generic issue.

25 But at the same time, we've made a few

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 observations and we have some comments on that too.
2 But it's not really what we're asking this Committee
3 to review. After we took a look at this ourselves
4 internally we decided that we needed some help from a
5 consultant to look at it a little bit more closely,
6 and that's when we went to Oak Ridge National
7 Laboratory.

8 And so the purpose of this meeting is to
9 present the findings that were made after going
10 through how we got there. And as part of the
11 Management Directive 6.4 process, we'll be asking this
12 Committee to endorse our conclusions about bringing
13 this issue to a closure before we send the matter to
14 the EDO with our final recommendation.

15 So the rest of the presentation will be
16 Raji Tripathi who will talk about how we followed the
17 generic issue process and what we did in looking at
18 this issue. And then the specifics on the technical
19 assessment will be provided following that by Calvin
20 Hopper. And with that, I'll turn it over to Raji
21 unless there are any questions from my direction.
22 Okay.

23 MS. TRIPATHI: Good afternoon. As a
24 Senior Nuclear Engineer with the Office of Nuclear
25 Regulatory Research, and since July 2005 I have served

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 as a project manager for this generic safety issue.
2 What I would like to do is just briefly walk you
3 through the process that we have gone through in
4 addressing various aspects of this management
5 directive and what our focus has been. By long-term
6 we simply mean the cask life, the license life of the
7 cask, which is 20 to 30 years. When it comes to the
8 chemical disposal off waste we have not touched that
9 at all.

10 So by long term we do mean a certain
11 limited time, 20 to 30 years.

12 Our approach has been to look at the
13 operation experience, critical calculations. Perhaps
14 some dissertations and see if we can find any basis
15 that will show that in spite of the strength, that
16 Boral as it's used in the dry cask storage will remain
17 neutron absorption characteristics so that there are
18 no criticality implications at least not in the time
19 frame that we are talking about.

20 As Pat mentioned, the reason we are here
21 is the process that we have followed and the
22 activities that we briefly described that we have
23 concluded that criticality is not a concern over these
24 20 to 30 year period and we'd like to close this issue
25 and Management Directive 6.4 requires us to have the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 endorsement from the Advisory Committee and hence we
2 are here.

3 As part of the direct issue resolution
4 process, once an issue is identified, we go through a
5 screening process, looking at some of the operational
6 events in the available data and see whether or not
7 the issue has merit. And if it does, documentation is
8 prepared and there is a panel convened of in-house
9 experts chaired by an ANCS manager.

10 The panel independently reviews the staff
11 screening analysis and comes to a conclusion, final
12 recommendation whether to proceed formally as a
13 generic safety issue or to drop it, is given to the
14 Director of Research who can accept the final
15 recommendation or if does not accept has to have some
16 justification.

17 In this case, we went through that
18 process. The issue floated because there was some
19 qualitative risk issues that there was sufficient
20 merit for this issue to be examined.

21 Past the screening process, next step will
22 be of technical assessment. This is where we develop
23 the basis that now that we know it's an issue, what
24 the possible fixes there would be in part of the
25 assessment we have to develop the technical basis as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to what the possible regulatory solutions of the fixes
2 might be.

3 The first formal step was to see what is
4 available in the literature, something, either we can
5 dismiss this issue -- I should back up a little.
6 Technical assessment doesn't go on that we just go on
7 and find a solution and develop a tech basis. It
8 doesn't help to go on for 2, to 5 or 10 years or
9 longer. The whole idea is that each step we take we
10 develop an action plan and each time we take a step
11 back and see, does the issue still have merit? Shall
12 we still proceed with the part that we are in?

13 The first step is always to look at what's
14 available in the literature and shall we at least
15 develop the preliminary basis for the issue.

16 We identified a number of literature,
17 some key documents, some of which are from colleagues
18 in our field who have been deeply involved in looking
19 at some of the available literature -- I'm on Slide 6,
20 gosh, I just forgot to move on to the next slide.

21 CHAIRMAN RYAN: That's okay.

22 (Laughter.)

23 You're following your presentation well,
24 so we'll follow along. But that helps the audience.

25 MS. TRIPATHI: I apologize.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: Don't worry.

2 MS. TRIPATHI: I have used the word
3 "pristine Boral" in some other literature, the package
4 that we submitted to the Committee also and by that we
5 simply meant that anything that's unused, never been
6 exposed before never been applied in the commercial
7 use and so on. Because many times when the
8 dissertations that we have looked at or some of the
9 lab data, they have never used any aged Boral, never
10 simulated all the relevant operating conditions.

11 So this always occurs. The degree and the
12 variation of the sizes of the blisters varies and I
13 think Chris made that point.

14 What our concern here was when we did the
15 screening analysis, that if you found that Boral
16 comes down like a powder and then drops down, but
17 significantly you can reduce the neutron absorption
18 capacity and it will be an issue.

19 If you can show that that does not happen,
20 then we will consider this issue as defined in the
21 scope of the safety issue 196 and will consider that
22 as closed.

23 Most of the data that I have looked at was
24 generated in the lab and they always used the small
25 coupon, small specimens.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So this is when we get some expert advice,
2 people who are criticality experts who know something
3 about neutronics, know something about material
4 degradation who can look at our assessment
5 independently and help us either support the
6 conclusion that we have come to or say no, this
7 doesn't really happen and we need to look at it in
8 greater depth and we go to the next step in our
9 Pegasus assessment.

10 So with this, I would like to turn it over
11 to Calvin Hopper.

12 MR. HOPPER: Good afternoon.

13 CHAIRMAN RYAN: Good afternoon.

14 MR. HOPPER: ORNL was engaged to
15 participate in the overview of this perceived problem
16 and as part of that we were provided in excess of
17 about 65 documents dated from about 1949, the
18 origination of production of Boral when it was
19 developed, and it turned out it was developed at ORNL
20 and then transmitted to and then was transitioned over
21 into industry, but these documents ranged -- it says
22 1949 to 2003, but the last action, the last EPRI
23 report that was reviewed was a 2004 document and it
24 was the one that was most relevant to today's issue.

25 We assessed these tests in the literature

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from a 2-0 degradation and resulting potential for
2 impact on criticality safety, primarily how can it
3 erode? What happens to the plates and so forth.

4 And the documents having specific test
5 analysis relevant to this GSI provided a bases for our
6 determination of ORNL.

7 These documented tests, Boral coupons
8 under long and short-term demonstrate some material
9 degradation. Blistering deformation are due to what
10 Chris spoke about earlier, steam generation and the
11 chemical reaction shown there.

12 The results of these tests and I'll show
13 you in a moment, are inconsequential reduction in
14 criticality safety for minimal loss of neutron
15 absorber B(4)C within the aluminum metal matrix as it
16 was demonstrated in these experiments in the
17 literature.

18 Potential operational safety concerns may
19 exist from the swelling of these plates, these
20 blisters. Those blisters can get upwards of an eighth
21 of an inch thickness. And so if you have tight
22 tolerance in spaces in your cask or in your storage,
23 then there's that potential for dragging and removal
24 or insertion of fuel

25 We are talking dry cask storage though.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We're not talking about long-term pool storage. I
2 want to show that in contrast, I wanted to show you a
3 contrast in material degradation relative to this PG&E
4 and Humbolt power plant, installation of Boral, where
5 there were some Boral cans placed around the fuel
6 elements, so you can see around in the pool for 18
7 years, the degradation of that Boral, and the
8 blistering of that particular Boral -- I am unable to
9 show you some of the pictures from the EPRI report,
10 but they do demonstrate that report does demonstrate
11 progressive blistering with each cycle. And the tests
12 ran for like five cycles of pressurized wetting and
13 drying and heating under vacuum. And indeed, if you
14 continue to do this, cycle this material and you pump
15 the water in and create steam repeatedly, you get
16 blistering. You will get blistering with Boral if you
17 work at it long enough.

18 CHAIRMAN RYAN: Just to clarify, Calvin,
19 if I may, would it be fair for me to say that sounds
20 like from what you all have said so far, that that's
21 a fairly extreme test. Is that realistic in terms of
22 --

23 MR. HOPPER: What I wanted to do is to --
24 thank you for your question. Because those tests were
25 designed allegedly to mimic the cask handling and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 loading. And in turns out that when you put the cask
2 down in the pool, you're going to have it down there
3 30 more feet. So you're talking about 16 PSI water.
4 The test, there were three phases of the test. One
5 was pressurization with fresh water or borated water.
6 And because fresh water is more corrosive, that's the
7 one I happened to look at it. It was the most
8 denigrated. Okay, and then you close the thing out
9 and you pull it out and you pressurize it again to
10 force the water out. And that pressure is always
11 upwards. And then you do a hydrostatic test upwards
12 of about 21, 22 psi.

13 And then through the heating process, and
14 their tests took it though a heating process where
15 they took -- the water pressurization is a 16 psi for
16 96 hours. So it pretends that it is underwater for an
17 extended period. And then there's this 17 hour ramp
18 to 200 degrees Fahrenheit, where you pressurize it to
19 16 to 21, 22 psi. Maximum 21.5 for about 10 minutes.

20 Then you have a 14 hour drying, vacuum
21 drying period, where you pump it down until about 3.5
22 inches of water vacuum. And the temperature in these
23 tests, temperature range between 250 and 550 degrees
24 with the temperature increase gradient of less than .7
25 degrees Fahrenheit for a minute. So there's an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 attempt to try to mimic the experience that you might
2 find in loading and drying the cask. We are talking
3 about dry cask storage.

4 Granted, each time you just go through
5 that cycle from the test demonstrated, the blistering
6 increases.

7 MR. BROWN: If I may just add to that that
8 MNSS had an opportunity to address a letter back to
9 the Spanish about three years ago in which they
10 questioned the particular cask design used in the U.S.
11 And your response was back to the Spanish that the
12 cask did not see these high heat-up rates or high
13 hydrostatic pressures that are used.

14 MR. HOPPER: We also need to remember that
15 after this drying process, it's covered with helium
16 gas. So it is inert atmosphere. The analysis
17 examined neutron absorption effectiveness in degraded
18 Boral, and we picked what we considered conservative
19 assumptions where we took on realistically degraded
20 Boral. Arbitrarily initially picked ten times the
21 corrosion rate, edge corrosion rate in fresh water.
22 The edge corrosion rate is like .0009 inches per year
23 in fresh water. But that's what generated galvanic
24 reaction.

25 So after 20 years exposure at an increased

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 corrosion rate, we're talking about a half inch edge
2 to edge lost in Boral between plates. If you have
3 plates in a cruciform, then as it erodes its about a
4 half inch. We modeled this in two ways. One way was
5 as a 7 and half inch wide Boral plates, and the two
6 ways were -- we modeled those as Region 2 cool racks
7 with Westinghouse 17 by 17 fresh fuel elements, PWRs,
8 on a 8.9 inch pitch.

9 Of course, those would normally be in
10 borated water, but in this case we modeled this in
11 fresh water so the reactivity was higher as a result
12 of that. The second model we chose was a HOLTECH
13 Multi-purpose Case 24 filled with 4.2 weight percent
14 235 percent enriched uranium, Westinghouse fuel
15 elements. And these were on a 10.91 inch pitch. This
16 was just a problematic model that we figured would be
17 the worst, the highest reactivity to see the maximum
18 impact on.

19 Those are what the models look like. You
20 can see that the initial reactivity of the Region 2
21 pool that we modeled has a K effect of about .982.
22 And you all are familiar with neutron multiplication?
23 Okay. And in the model MPC 4, you can see that this
24 is initial reactivity in this particular model with
25 fresh water was about .95.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 These are the computation results. They
2 eroded all edges of the Boral plate, assuming that the
3 blisters did not open, which they typically do not
4 until you've blistered it four or five, six times.
5 And you'd get cracking of the cladding in the tests
6 we've observed. You can notice that at the actual
7 1/64th inch loss in 20 years, you have increase the
8 reactivity of the Region 2 react from about .93 to
9 about .932. It's rather minor in this particular
10 instance.

11 If you extend that out to 10 times that,
12 up to about half an inch, you'll notice that the
13 reactivity increased again a couple of percent in
14 total over that period.

15 MEMBER WEINER: Excuse me?

16 MR. HOPPER: Yes?

17 MEMBER WEINER: Those are model results?

18 MR. HOPPER: Those are the calculational
19 results of the models.

20 MEMBER WEINER: Thank you.

21 MR. HOPPER: You're welcome. Yes, we did
22 this at various degradation edge separation, edge
23 degradation. So out there, you notice there's a 3.25.
24 There's also a 3.5 we don't see. That's essentially
25 almost a total erosion of the Boral plate. And so

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 where it says a half inch there, because this is edge
2 degradation that would mean that there was an inch
3 gap. Okay.

4
5 So the conclusions we came from looking at
6 that, all the literature and the test results that we
7 found in the EPRI and other open literature, not so
8 open, was it's a laboratory generated small-scale
9 coupon test. We're likely no rigorous damaging than
10 full scale application due to the increased edge
11 exposure, the sheering of the plates which has a
12 tendency to peel the cladding away from the edges to
13 increase edge corrosion, enhance ingress of water, or
14 damage.

15 The slow B4C aluminum matrix edge
16 corrosion rate in fresh water is really pretty minor.
17 And as you may realize, in an acidic environment for
18 aluminum is less damaging, less corrosive than is the
19 fresh water or caustic environment. Blistering,
20 swelling, the distortion of Boral flatness is not a
21 criticality safety issue so long as you maintain the
22 aerial fitness, aerial density of the Boral neutron
23 absorber. The once blistered Boral, and I'm speaking
24 of once blistered meaning you cycled it once, you
25 cycled it twice. The first cycle for which your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 blisters appear, which typically is the first cycle,
2 but not necessarily. Blisters on the first cycle, it
3 may be small, like an eighth of an inch in diameter
4 with almost no raising. You continue to do this
5 cycling and the blister can get large, at two inches,
6 three inches.

7 Once blistered, the Boral will remain an
8 effective neutron absorber in a dry cask storage in
9 spent fuel, providing the Boral is not
10 repeatedly cycled through more than two cycles of
11 water pressurization and vacuum drying and heating.

12 We went into that simply because once or
13 twice blistered, to assure ourselves that we're not
14 prepared to step into the other world of continued
15 abuse with pressurization vacuum heating. So with
16 that, do you have any questions?

17 CHAIRMAN RYAN: Let's go ahead and start.
18 Bill Hinze.

19 MEMBER HINZE: A couple of questions if I
20 might. How did you validate your modeling?

21 MR. HOPPER: Those models were taken from
22 plant design -- are you speaking of the criticality
23 models?

24 MEMBER HINZE: Yes.

25 MR. HOPPER: Those were taken from designs

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from Region 2 and the HOLTEC was a conjectured model
2 but using the Westinghouse 17 by 17 fuel.

3 CHAIRMAN RYAN: And those have presumably
4 been verified, those models have been
5 validated?

6 MR. HOPPER: Yes. Yes. If you mean in
7 the sense that they were verified to be properly --

8 CHAIRMAN RYAN: Against empirical data,
9 yes.

10 MR. HOPPER: They have been.

11 CHAIRMAN RYAN: They have been. That's
12 great. Thank you.

13 On page 6, a question here, the last
14 bullet under findings, the applicability of small
15 scale data to real life situation needed further
16 examination. Can someone expand upon that a bit and
17 how this study has solved that problem?

18 MR. HOPPER: The small samples I was
19 trying to allude to earlier are -- they will abuse far
20 more than a large panel.

21 MEMBER HINZE: These are the tests then
22 that --

23 MR. HOPPER: They were done on small
24 scale, yes.

25 MEMBER HINZE: And what difference could

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we expect as a result of this scale? Why were you
2 concerned about this?

3 MR. HOPPER: The concern is the realism of
4 the tasks? Are they really real and for what
5 applications are. And there was an attempt, as I
6 mentioned earlier --

7 MEMBER HINZE: Are there any aspects of
8 the physical process that you would expect to find a
9 difference as a result of this scale?

10 MR. HOPPER: Differences in the sense that
11 you may have weldments on the boiler unit like tig
12 welds or spot welds. There are differences in that
13 the site would be much larger, so the shoring wouldn't
14 be as much damaging to the small, as they are to the
15 small ones.

16 And that's about the extent of it.

17 MEMBER HINZE: Thank you very much.

18 MR. HOPPER: You're welcome.

19 CHAIRMAN RYAN: Allen.

20 VICE CHAIRMAN CROFF: Just one. I hate to
21 back it to the end of the slides and conclusion slide,
22 but that's the last bullet where you talk about one is
23 blistered.

24 That seems o be kind of a performance
25 criteria of sorts. Has that been translated into

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 operating requirements for the cask in any way or is
2 that -- it seems like it's pretty clear?

3 MR. BROWN: No.

4 VICE CHAIRMAN CROFF: Is there any caution
5 or anything like that or is it just well below that
6 radar screen?

7 MR. BROWN: No, not that I'm aware of.

8 VICE CHAIRMAN CROFF: Okay.

9 CHAIRMAN RYAN: Thanks. Ruth?

10 MEMBER WEINER: Do you tend to get
11 blisters at the edges more or uniformly throughout the
12 coupon?

13 MR. HOPPER: It is not uniform. It has
14 much to do with the fabrication process as well as the
15 matrix of the aluminum metal and boron carbide and the
16 void fractions. You do get blistering at the edges
17 and the picture I was showing earlier is pretty
18 demonstrative of that, regarding at the edges and I
19 don't have a pointer, but -- is this one?

20 This is actually the age of the Boral and
21 there's the edge of it right there and you can see how
22 the blisters have clustered around the edge of the
23 Boral and that is primarily due to the hydrogen
24 production from the water being tracked in there. And
25 then when the aluminum oxide gets formed it has a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 tendency to plug the exit of the gases and you get
2 this blistering.

3 However, you can get blisters in -- to the
4 far away from the edges as a result of the rolling and
5 damage or tramp oils that may be left on the thing.
6 ADR has improved their production processes to reduce
7 those tramp oils and boron carbide particles.

8 As you may know, boron carbides are very,
9 very hard. And it would puncture the surface. And
10 this is a relatively thin surface of aluminum with
11 clad on that boral. And so you get minor puncturing
12 and it becomes a source for corrosion and ingressive
13 moisture and so that you can get blisters elsewhere
14 besides the edge.

15 Yes, ma'am.

16 MEMBER WEINER: So the corrosion would be
17 the major process by which the boral would eventually
18 degrade?

19 MR. HOPPER: From the model that I
20 presented to you. We had edge lost. Yes. Where you
21 had the blistering and it can cause distortion of the
22 material.

23 In the last -- in 2004, the work that EPRI
24 published, they had some very -- some relatively large
25 blisters internal to the plate, evidently as a result

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of punctures or corrosion towards the center of the
2 plate and when they opened it up they found the
3 matrix, the aluminum carbide matrix intact and still
4 stiff, somewhat like you saw in that plate. And it
5 had not been removed, did not come out.

6 So we do not expect that the boron carbide
7 with a matrix to come loose form the plate. Only
8 around the edges.

9 MEMBER WEINER: Thank you. These are just
10 questions for the -- you know, a mental picture of
11 this process.

12 But I understand that it doesn't interfere
13 with the neutron absorption.

14 MR. HOPPER: Yes.

15 MEMBER WEINER: You get the same as if you
16 had virgin or naked or pure Boral.

17 MR. HOPPER: That's correct. You've got
18 to substantially distort to degrade its geometric
19 position. That's important.

20 MEMBER WEINER: Thank you.

21 CHAIRMAN RYAN: Jim?

22 MEMBER CLARKE: Just one quick one, Mike,
23 if I could? Following up on the questions of Dr.
24 Hinze asked and your responses and he asked you about
25 comparing model predictions to measure data and he

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 also asked you about scales. I was wondering what the
2 correspondence is for the model predictions compared
3 to the coupon data or how did that work?

4 MR. HOPPER: Presumably we're talking
5 about these models?

6 MEMBER CLARKE: Yes.

7 MR. HOPPER: Okay, these models are full
8 scale models. They're large and so the panels --
9 those are about seven and a half, eight inches broad
10 and about I forget how many feet long.

11 MEMBER WEINER: Twelve maybe?

12 MR. HOPPER: Those are likewise panels of
13 about the same dimensions, maybe a little bit smaller.
14 The pitch of those storage -- is that storage? Let's
15 see. Did I say it? Yes, I did. You can see the
16 pitch is somewhat different. And so the coupons, the
17 test coupons in the reports and literature that we've
18 observed were much smaller. They were like two by
19 four inches. And so in the handling and sheering, you
20 have much larger edge to volume surface for damage.

21 MEMBER CLARKE: Since scale appears to be
22 an issue I thought I would see if that correspondence
23 was, but your model predictions, compared to much
24 larger scale?

25 MR. HOPPER: The neutron calculations are,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 yes.

2 MEMBER CLARKE: Thank you.

3 MR. HOPPER: You're welcome.

4 CHAIRMAN RYAN: Thanks Jim. You have to
5 recognize that we deal with models sometimes in the
6 environment where two orders of magnitude is good.

7 (Laughter.)

8 Some of the significant digits there is
9 real.

10 MR. HOPPER: That's right, and really --

11 CHAIRMAN RYAN: Reality is a whole lot
12 different.

13 MR. HOPPER: Well, in reality these digits
14 are out here. I presented it just so that you would
15 just -- these numbers in that fashion to understand,
16 but we beat it to death.

17 CHAIRMAN RYAN: One last question that I
18 have is, I was taken by the fact that you've really
19 tracked since 1949 until now in terms of literature
20 search. Has there ever been a failure of Boral on a
21 cask that's resulted in a criticality accident?

22 MR. HOPPER: Good Heavens. I would say
23 no, and I pretty well know criticality accidents.

24 CHAIRMAN RYAN: I think that's a telling
25 summary point to finish up on is that this has been in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 use in many, many applications from 1949 forward.
2 Probably more recently than earlier perhaps, but it
3 has not failed and resulted in a criticality accident.
4 That's an important point for us to take away. Yes,
5 ma'am?

6 MS. TRIPATHI: I would like to make the
7 point because when you open the case, you can see what
8 it looks like inside.

9 CHAIRMAN RYAN: That's excellent. Thank
10 you.

11 MS. TRIPATHI: I think it was a study of
12 spent fuel cast has been in Idaho for 15 years and he
13 had been working on it at Argonne National Lab to look
14 at the determinants. We will have to wait and see.
15 Nobody has opened the casks yet.

16 CHAIRMAN RYAN: If I recall, we've had a
17 briefing as well on a cask that was opened. I think
18 more to inspect the fuel relative to the eventual
19 movement of fuel to any repository. The same kind of
20 thing came out is that it looked, I think the claim
21 was it looked just like it did the day we closed it
22 up. But again, that was not a huge amount of time --
23 10, 15 year period. That kind of thing. So I think
24 it's important. Well, folks, thank you very much --

25 MR. HOPPER: I have to turn it over to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Raji.

2 MR. BARANOWSKY: I think our wrap-up is
3 just really to say that we think for dry cask storage
4 for the life of the cask, 20 to 30 years, we don't see
5 a criticality problem with the Boral. It doesn't mean
6 people aren't going to look at these things. As you
7 say, when they open them up or they decide to move
8 them in different places and should observations
9 change, then action will be taken as appropriate.

10 But at this point, we don't see the
11 necessity for doing anything further on this generic
12 issue or coming up with any further requirements other
13 than to close it out for now. We will look for the
14 Committee's endorsement of that position so we can
15 finish up.

16 CHAIRMAN RYAN: Great, well thank you very
17 much. Chris, did you have any closing comments?
18 Okay, great. Well, thank you all very much. We have
19 traveled a great distance for a briefing. It's been
20 -- just a second. I'm talking. But I appreciate it.
21 It's been a very informative briefing. Thank you very
22 much. Are there any other questions or comments?

23 MR. INTERRANTE: Hi, I'm Charles
24 Interrante from formerly SFPS, FST now.

25 CHAIRMAN RYAN: Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. INTERRANTE: From the laboratory test,
2 the thing I would have been looking for in determining
3 whether or not there was an effective, or whether or
4 not there was any effect on the efficacy as a neutron
5 absorber, I would have been doing metallography. I
6 didn't hear you talk about that at all. But what I
7 would be looking for would be any evidence that the
8 B4C particles had become dislodged in any areas that
9 might have gotten blistered and like that. And you
10 know, that's the place where if there's going to be an
11 effect, you would get some evidence that you might
12 have twice as much in an area instead an even
13 distribution everywhere. And I was wondering if there
14 was any metallographic work that accompanied the
15 studies that you did.

16 MR. HOPPER: There were attempts --

17 CHAIRMAN RYAN: Use the microphone,
18 please.

19 MR. HOPPER: There were attempts at
20 metallographic work, but to prepare a metallographic
21 sample for microscopic exam, it's necessary for you to
22 polish it. It's very difficult and not really
23 possible to polish boron carbide particles within a
24 limited matrix. There was a thought about going to a
25 electron microscope to examine this, but actually in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 some of the tests where they had removed the blister
2 surface, the cladding -- where they had removed the
3 cladding, you could still see the matrix internal and
4 it remained in position. I think that was the fourth
5 or fifth blister cycled blistering. That's the limit
6 of it.

7 MR. INTERRANTE: You were looking for this
8 particle and that sort of thing?

9 MR. HOPPER: Right, yes.

10 CHAIRMAN RYAN: Thank you. Any other
11 questions?

12 MR. DIAS: May I say something?

13 CHAIRMAN RYAN: Yes, you may.

14 MR. DIAS: Please correct me if I'm wrong
15 on this, but first of all I think it's important to
16 mention that it so happens that the industry is
17 actually moving away from the use of Boral. As Chris
18 indicated, there are other materials then that have
19 been chosen recently instead of Boral, and it's not
20 because of this degradation issue. It's because of
21 what they used when that happened with the Boral.

22 Another thing to mention is that they
23 talked about the cycling situation. And I really am
24 not aware of any storage cask that actually gets to be
25 reused. They only do it once, okay? For example,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 most of the cask is an MPC. MPC is literally a sealed
2 canister that will never be opened again. It's going
3 to be put inside some transportation cask and shipped
4 to wherever the repository is.

5 Another thing that I have to say is Boral
6 is actually, even though it's put in during the
7 storage phase of it, it's literally much more
8 possible, okay? But because -- because that's when
9 the criticality is an issue, okay? But again, you all
10 think that the particles will basically be falling and
11 kind of calculations that people do it to support the
12 license application will be in any way affected by
13 this. That's my comment.

14 CHAIRMAN RYAN: Thank you very much. With
15 that we will close. I think we're scheduled at the
16 moment for a break and that will -- let's see, where
17 are we. We will take a break until let's say 2:30.
18 And we're off the record for the remainder of the day.
19 And with that we will close and we'll reconvene at
20 2:30.

21 (Whereupon, at 1:57 p.m., the meeting was
22 concluded.)

23
24
25

1

2