

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Nuclear Waste
150th Meeting

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Thursday, May 27, 2004

Work Order No.: NRC-1499

Pages 1-66

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON NUCLEAR WASTE

150TH MEETING

+ + + + +

THURSDAY,

MAY 27, 2004

+ + + + +

The meeting commenced at 8:30 a.m. in Room T2B3,
NRC Headquarters, Two White Flint North, Rockville,
Maryland, B. John Garrick, Chairman, presiding.

PRESENT:

B. JOHN GARRICK	ACNW Chairman
MICHAEL T. RYAN	ACNW Vice Chairman
GEORGE M. HORNBERGER	ACNW Member
RUTH F. WEINER	ACNW Member

ACNW STAFF PRESENT:

HOWARD J. LARSON	Special Assistant, ACNW
ALLEN CROFF	ACNW Invited Expert
NEIL M. COLEMAN	ACNW Staff
RICHARD K. MAJOR	ACNW Staff

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

PRESENTERS:

THOMAS J. NICHOLSON	USNRC/NRR
SHLOMO P. NEUMAN	University of Arizona
PHILIP D. MEYER	Pacific Northwest National Laboratory
MING YE	Pacific Northwest National Laboratory

C-O-N-T-E-N-T-S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

AGENDA ITEM

PAGE

Opening Statement (Open)(BJG/JTL)

4

The Chairman will make opening remarks regarding the conduct of today's sessions.

Treatment of Uncertainties in Hydrologic Models: Conceptual Model and Parameter

Uncertainty (Open)(GMH/NMC)

5

Briefing by and discussions with representatives of the NRC staff, Pacific Northwest National Laboratory and the University of Arizona regarding the proposed strategy for coupling parameter uncertainty with conceptual model uncertainty in ground water modeling.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

8:30 a.m.

CHAIRMAN GARRICK: On the record. The meeting will come to order. This is the third day of the 150th meeting of the Advisory Committee on Nuclear Waste. My name is John Garrick, Chairman of the ACNW. The other members of the committee are Mike Ryan, Vice Chair, George Hornberger and Ruth Weiner. Also present is our consultant Allen Croff.

Today the Committee will be briefed by the NRC staff and its consultants on a proposed strategy for the treatment of uncertainties in hydrologic models: conceptual model and parameter uncertainty. Secondly, we'll continue our discussion of proposed Committee letter reports. Neil Coleman is the designated federal official for today's session.

The meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act. The Committee hasn't received any written comments or requests for time to make oral statement from members of the public regarding today's session. But should anyone wish to address the Committee, please make your wishes known to one of the Committee staff.

If you do participate, it is requested

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that the speakers use one of the microphones, identify
2 themselves, and speak with sufficient clarity and
3 volume so that it can be readily heard. Today our
4 lead member of the Committee on the topic is George
5 Hornberger. I'm going to ask him to carry forward.

6 MEMBER HORNBERGER: Thanks, John.
7 Welcome, everybody. Today we finally get to talk
8 about something exciting.

9 (Laughter.)

10 CHAIRMAN GARRICK: It took us until the
11 third day to get there.

12 MEMBER HORNBERGER: We have three
13 presentations today. The Office of Research has been
14 supporting work on the important topic of how to deal
15 with uncertainty in hydrological and hydrogeologic
16 models including how one deals with differences or
17 uncertainties in conceptual models.

18 So we have three presenters this morning;
19 Tom Nicholson of the staff here, Phil Meyer from PNNL,
20 and Shlomo Neuman from the University of Arizona. I
21 think without further ado, we'll launch in. Tom, I
22 understand you are going to be first.

23 MR. NICHOLSON: Good morning. Thank you
24 very much for the introduction, George. I'd like to
25 introduce Phil Meyer to my left who will be talking

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 after me about the unified methodology that has been
2 developed. Shlomo Neuman will get into some of the
3 theoretical aspects of it and some of the testing of
4 the methodology using the Apache Leap data.

5 At the table back there is Mark Thaggard.
6 He is the Section Leader in Performance Assessment in
7 the Decommissioning Area. He is our customer.

8 MEMBER HORNBERGER: He pays the bills.

9 MR. NICHOLSON: He pays the bills. When
10 we do good and he acknowledges, then that makes our
11 management feel very good. I just would like to
12 briefly introduce the topic to you. I'll discuss the
13 uncertainty issues, the research of Jack, the tasks,
14 applications. Then I'll summarize very quickly.
15 There's some information sources, the NUREGs that have
16 been produced.

17 Uncertainties in the sources we think are
18 a very integral part of performance assessments. We
19 think in order to have full documentation that
20 uncertainty has to be addressed. In the past, a lot
21 of it was just looking at parameter uncertainty for us
22 conception of what other people referred as structural
23 uncertainty is an extremely important part of this.

24 There are a variety of sources of
25 hydrogeologic uncertainty. The first one, which is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 probably the one that we focus on the most, is the
2 incomplete knowledge of the system being analyzed.
3 The incomplete knowledge is often how you interpret,
4 how you do model extraction, understand how the system
5 should be characterized and eventually modeled.

6 So the conceptualization is extremely
7 important. We also may get uncertainties due to
8 measurement errors and characterizing the system's
9 features, events, and processes and, of course, the
10 natural variability of the system, spatial properties,
11 and the transient external stresses, for instance,
12 infiltration.

13 Finally, we also would like to look at
14 uncertainties that arise from the disparity between
15 the sampling scale, the monitoring scale, and the
16 simulation relative to the actual dimension of these
17 features, events, and processes which may effect
18 radionuclonic transport. Next please.

19 As I mentioned very briefly, it's this
20 need to look at alternative representation system that
21 is one of the key issues in the methodology. Shlomo
22 Neuman, in a previous contract with this, has
23 developed a very good report, NUREG/6805, which talks
24 about a strategy for identifying and creating these
25 alternative representations of hydrogeologic system.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Also, the methodologies produce a very
2 rigorous and systematic approach to identifying and
3 quantifying these very sources of uncertainties which
4 are mentioned. So what we did was, many years ago we
5 first briefed you people on the work that Shlomo was
6 doing on conception model uncertainty and how to
7 represent and develop model extractions of the system
8 of interest.

9 Phil Meyer and his colleagues at PNNL
10 developed a separate methodology on parameter
11 uncertainty. We have asked them, and what they are
12 reporting on today is this unified methodology in
13 which they are bringing together the conception model
14 uncertainty with the parameters. We've asked them to
15 also look at the scenario uncertainty.

16 Phil and Shlomo will talk about the
17 scenario uncertainty. We're focusing right now on
18 hydrogeologic scenarios, for instance, irrigation
19 strategies, ground water pumping, flooding, things of
20 that nature. Next slide please.

21 Well, what are our research objectives?
22 Our most important research objective is to develop
23 the technical bases for the licensing staff so when
24 they review performance assessments, they will have
25 knowledge of and tools to assess uncertainty. We also

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 want this detailed methodology that is evolving to be
2 able to identify and compare alternative conceptual
3 flow and transport models.

4 We want to apply this methodology to a
5 variety of test cases. Phil will get into some
6 discussion. It's already been tested from a
7 feasibility standpoint on the Apache Leap database.
8 But now, they want to apply it to some larger scale
9 problems analogous to decommissioning.

10 Then finally, another extremely important
11 objective is to educate the staff. Tomorrow Shlomo,
12 Phil and Ming Ye, in the audience, will be educating
13 the NRC staff on their methodology. We'll fully
14 explore with them how to develop and create
15 alternative conception models, how to look at
16 parameter uncertainty and the theoretical
17 underpinnings of it.

18 This view graph is just simply to let you
19 know that one of the things that we're most concerned
20 about is structured media. There's a variety of ways
21 of representing the database and phenomena, especially
22 in the unsaturated zone, and that's what this is
23 focusing on. We can look at the flow and later
24 transport as it moves through course and fractured
25 media. The question is, is it the matrix or is it the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fractures that are controlling?

2 This is a view graph I would like to look
3 at because it a reality check. Too often, we simplify
4 models to the point where we don't look at the
5 tremendous complexities involved in near surface and
6 deeper process such as infiltration, development of
7 perch water systems, the role of certain units either
8 to become perching units or they may actually have
9 fractures in them, such as the clastic dike, that
10 allows water to migrate vertically. Then of course,
11 there are other things such as wells themselves to be
12 avenues for down home contamination.

13 So the research tasks, what are they? We
14 have six of them. The first one has been
15 accomplished. They have developed, and you should
16 have copies of NUREG/CR-6843 which couples the
17 conceptual model with the parameter uncertainty
18 methodology. They are now incorporating scenario
19 uncertainty into the methodology.

20 They are developing a test plane which
21 Phil will discuss and test it on the 300 area database
22 at the Hanford site, document the test case. As I
23 said before, it isn't just one technology transfer.
24 There's multiple ones in which they will come into the
25 NRC headquarters and actually educate the staff on all

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the details of their methodology.

2 What are the applications? Well, the
3 application is to apply their rigorous and systematic
4 methodology to real test cases to formulate a set of
5 plausible alternative conception models supported by
6 field data. That's very important, supported by
7 available field data, then to calibrate each one of
8 these models to address parameter uncertainty and to
9 estimate the model probability, and then finally to
10 compute a weighted average of the model predictions
11 with each model's results weighted by that model's
12 probability.

13 In summary then, the research is to
14 understand the various sources of uncertainty, to
15 develop this systematic and rigorous methodology
16 focusing on hydrogeologic flow and transport,
17 formulate and compare alternative conception flow and
18 transport models, and then to test the robustness and
19 completeness of the methodology, and provide a
20 technical basis for the staff. The last view graph is
21 the three documents I have mentioned. So I would like
22 to turn it over now to Phil. Phil, if you would walk
23 through your view graphs with the gentlemen.

24 MR. MEYER: Sure. I'm going to go through
25 this pretty quickly. There's a little bit of overlap

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 between my slides and Tom's. I'm just going to hit
2 the key points that I wanted to raise on those.

3 First off, I wanted to acknowledge not
4 only Ming, who has been instrumental in this work, but
5 also some other folks that have been involved; Mark
6 Rockhold and Kirk Cantrell both at the lab who work as
7 geochemists. Next slide please.

8 So from the perspective of the NRC staff
9 dose assessments, the key issue for me is, where does
10 the uncertainty come in? The approach that the NRC
11 uses is a risk-informed, performance-based decision.
12 The risk is assessed by evaluating uncertainty dose
13 predictions. So that's where the uncertainty issues
14 actually come in.

15 You typically have predictions that are
16 made over a long period of time. There's complex
17 processes involved. Therefore, the predictions of
18 dose based upon that type of analysis are going to be
19 uncertain. For our work, we are concentrating on the
20 pathways only involving hydrologic transport.

21 Tom already went through the sources of
22 hydrogeologic uncertainty that we're looking at. The
23 key point here that I want to raise is that the
24 uncertainty has the result that at a typical site
25 there will be plausible alternative representations of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the system and uncertainty about future behavior of
2 the system. These alternative representations cannot
3 always be resolved to a single representation that is
4 the only one justified by the data.

5 So in terms of the project, our goal is to
6 try to have an analysis of uncertainty for these
7 problems that is somewhat comprehensive in the sense
8 that it incorporates the parametric uncertainty,
9 uncertainty about the conceptual models or the
10 structural aspects of the representation, and also the
11 scenario uncertainty where scenarios are conditioned.
12 I'm going to talk next about each one of these just
13 very briefly to raise a few key points.

14 So this is a picture taken from the near
15 surface Hanford site by John Selker. It just
16 illustrates the type of issues that can result in
17 parameter uncertainty when looking at hydrogeology.
18 Tom had a conceptual model slide from the Hanford site
19 of tank waste leaks and potential transport and the
20 various mechanisms that might be involved there.

21 I don't have that slide here, but that
22 slide basically had things very homogenous. There
23 were a few layers. There was Hanford gravels, Hanford
24 sands which in that slide covered a fairly large area.
25 Then there was a Caleche layer down below the tanks.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Well, this picture covers only a couple
2 meters. But you can see the kind of variability
3 that's at the Hanford site. This would be the
4 variability that's within the Hanford sand unit that's
5 in that picture that Tom showed. So you have physical
6 and hydraulic properties here that are varying on the
7 scale of just a few centimeters and the actual
8 magnitudes are carrying over several orders of
9 magnitude.

10 In addition, when you try to represent
11 this, there's a limited number of samples that you can
12 obtain from the site. Therefore, you can't actually
13 discern this kind of variability from your sampling
14 necessarily. And then there's scale differences
15 between the scale of the measurements that you are
16 taking and the actual representation within a model of
17 the parameters of the site.

18 So our approach to the application of data
19 and parameter estimation follows this little diagram.
20 On the lower left, there's what we refer to as prior
21 parameter values or prior parameter distributions
22 which are based on generic or local information
23 sources. That progresses and if you have site
24 specific information, you can use that information to
25 update, in a Bayesian sense, you could update those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 parameter values or distributions thereby reducing
2 your parameter uncertainty.

3 In the upper right, if you have
4 observations of the system behavior that you can apply
5 to the calibration of the parameters, then you go
6 ahead and do that using an inverse model and thereby
7 reduce your parameter uncertainty even further. So
8 there's a couple of points here. One is that the
9 methodology that we want to apply needs to be able to
10 incorporate systematically at any level parameter
11 uncertainty. I guess that's my key point.

12 The other thing I wanted to point out here
13 is that ultimately where you would like to be is up in
14 the upper right where you are calibrating your
15 parameters. That requires monitoring data. I know
16 the NRC is sponsoring research on long-term
17 monitoring.

18 The data that comes from such long-term
19 monitoring would naturally fall into our methodology
20 at the calibration point where as you collect more
21 data, you can continue to refine not only your models
22 but your parameter values. I'll discuss also in our
23 methodology the probability of a model would get
24 refined or updated in the same manner.

25 So that was parameter uncertainty. In

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 terms of conceptual model uncertainty, our perspective
2 is as follows. Taking the site data and other
3 information available, you can often formulate a
4 number of conceptual models about the site and then
5 also implement those potentially in different ways.

6 So the final conceptual mathematical model
7 that you end up with, you may not be able to arrive at
8 a unique representation of the system. That's
9 represented here where at the bottom, there's three
10 conceptual mathematical models that can be used to
11 represent the site. Each one of them may be valid.
12 That is, each one of them may be able to represent the
13 data at the site to some degree. You may not be able
14 to eliminate them all based upon the available data.

15 So in terms of evaluating conceptual model
16 uncertainty, this is just a very brief summary of
17 that. Shlomo is going to talk about this in more
18 detail in terms of both the background and also
19 application. But the basic idea is to postulate a set
20 of plausible alternative conceptual models that are
21 supported by the available data, then assign a prior
22 probability to each alternative model where that prior
23 probability represents your degree of belief and the
24 suitability of that model for the site, and then
25 estimate posterior model probability using observed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 behavior through process of calibrating each model and
2 using the information from that calibration, and then
3 compute the predictions with each model and combine
4 the results using model probabilities as weights.

5 So this perspective doesn't try to lead
6 you to a single model. In fact, the example that
7 Shlomo is going to discuss, we demonstrate that if you
8 use just a single model as opposed to a number of
9 models, each of which is valid, that you will not have
10 the best solution. That is, using multiple models and
11 combining them in this way can lead you to better
12 prediction, more reliable predictions.

13 There is a figure. This is entirely what
14 Shlomo is going to be talking about. The Maximum
15 Likelihood Bayesian Model Averaging is the name of
16 this process. It's described in NUREG/CR-6843 and
17 also in a Water Resources Research paper that just
18 came out.

19 There is a flow chart that we put together
20 in the NUREG that is in your notes. I'm not going to
21 discuss that flow chart too much. But it summarizes
22 the process of combined estimation of conceptual model
23 and parameter uncertainty. Yes, it looks like this.
24 (Indicating.) In the Water Resources Research paper
25 and also in the NUREG, there is an application of this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 method that basically goes through the entire process.

2 I just want to briefly talk about scenario
3 uncertainty because that is part of the issue too.
4 Scenario uncertainty is a bit different than
5 conceptual model uncertainty in the following sense.
6 Similarly, we can postulate a set of alternative
7 scenarios, a set of alternative future representations
8 for the site in terms of things like Tom mentioned;
9 irrigation, hydrologic events like flooding, stuff
10 like that.

11 You can postulate these set of
12 alternatives. In the same way that you can assign a
13 prior probability to models, you can assign a prior
14 probability to each scenario. That is, your degree of
15 belief in the likelihood of that scenario occurring.
16 Then there is a similar process to this. I'm not
17 going to go into any detail.

18 But if you are comfortable with applying
19 probabilities to scenarios, then you can incorporate
20 that in a manner very similar to this flow chart just
21 as an outer loop with this flow chart on the inside of
22 that loop. If you are not comfortable with assigning
23 prior probability scenarios, then you're stuck with
24 something less than a formal assessment of scenario
25 uncertainty because it's fundamentally different.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 With the model probability, you can
2 evaluate the probability of a model in the posterior
3 sense from the system observations that you have. But
4 you can't necessarily do that with scenario
5 uncertainty. So if you are not comfortable with
6 applying probabilities to scenarios, then you are
7 limited to something like a sensitivity analysis for
8 scenario uncertainty.

9 So in terms of evaluating method, the
10 application that Shlomo is going to talk about is
11 geostatistical modeling of air permeability in
12 fractured rock. So in that case, the alternative
13 models are geostatistic models of air permeability.
14 That example is a complete application of the Maximum
15 Likelihood Bayesian Model Averaging method.

16 It demonstrated the superiority of the
17 model average result over the use of individual
18 models. As I mentioned, that has just been published
19 in Water Resources Research also. The other
20 application that we're currently working on is uranium
21 transport in the subsurface at the Hanford Site 300
22 area. I'm going to just briefly go through a few of
23 the details about that application.

24 In the 300 area, there is a lot of process
25 associated with the activities in the Hanford site

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that went on there. In disposing of some of their
2 waste, they used liquid discharges to ponds and
3 trenches. That waste had uranium in it which is now
4 in the groundwater.

5 The site is outlined here in red on the
6 surface there. That's a representation of the surface
7 topography. The dark blue is the Columbia River. So
8 the site is just a few hundred meters from the
9 Columbia which makes it of some concern. This is the
10 Columbia River here. (Indicating.) This is basically
11 the fence line. The operations went on in here.
12 There's a disposal pond here. Then these are some
13 disposal trenches. This distance here is two or three
14 hundred meters.

15 This is a representation of the major
16 geologic units as the Hanford site geologist
17 represents them shown here. The next slide, there is
18 a cut away view that illustrates the layering, the
19 three dimensional nature, discontinuities in layers.
20 These are some of the data points represented by these
21 yellow lines representing wells at the site.

22 We are currently developing what we're
23 calling a nominal model for this site which is a three
24 dimensional unsaturated/saturated zone model in which
25 we will try to incorporate as much detail as possible,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 as much detail as we're willing to consider at the
2 site. Then our plan is to have some relatively
3 simpler models that we will actually apply the
4 uncertainty methodology to.

5 This is a plan view of the nominal model,
6 the most complex model, the representation of the grid
7 discretization that we're using. This is a three
8 dimensional model. This shows the data points that
9 we're using. The three sources of contamination are
10 located there. Next please.

11 One of the issues at this site because it
12 is so close to the river is that there is an influence
13 of the river on the groundwater. The river goes up
14 and down in response to the seasonal cycles and also
15 in response to the way the dams on the river are
16 operated. This is just a time line from 1944, the
17 beginning of the operation of the site, up to the
18 present time of our reconstruction of the river stage.

19 You can see that it varies over ten
20 meters. It has in the past. There was a
21 discontinuity in terms of the statistical
22 representation of the river stage when the last dam,
23 Mica, went in up on the river in Canada. So this is
24 just to illustrate that this is not only a three
25 dimensional problem but it's also the transient

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 issues. Transients of the transport is potentially an
2 issue, and we will be representing that in our
3 modeling.

4 So the uncertainty assessment is being
5 applied here to a set of alternative models that are
6 simplified from our nominal model. We are
7 representing those models using the GMS, ground water
8 modeling system, framework, MODFLOW, and MT3D to the
9 greatest extent possible. The reason for doing that
10 is, there are some NRC staff that have experience in
11 GMS, and NRC is sponsoring work with the GMS folks.

12 The alternative representations that we
13 will be using include homogeneous versus heterogeneous
14 hydraulic parameterization and the steady state versus
15 transient boundary conditions. Also, the chemistry at
16 the site is somewhat complex. There's a lot of
17 research going on now at the Hanford site related to
18 that issue.

19 We will be representing a portion of the
20 current chemical knowledge about the site in terms of
21 the uniformity or non-uniformity of the adsorption
22 model that's applied. Adsorption of the uranium is
23 very sensitive to the total carbonate and solution
24 concentration which varies with the river water and
25 the ground water.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So just from a philosophical point of
2 view, I wanted to finish up with a couple of thoughts.
3 The value of uncertainty estimates is limited. So we
4 have a process here, a methodology that we describe as
5 comprehensive in some sense. But at the same time,
6 it's important to recognize that the uncertainty
7 estimates that are going to come out of any
8 uncertainty analysis are lower bounds.

9 This is a quote from someone that we all
10 know. "As we know, there are no knowns. There are
11 things we know we know. We also know there are known
12 unknowns. That is to say, we know there are some
13 things we do not know. But there are also unknown
14 unknowns, the ones we don't know we don't know."

15 And I added a fourth category, those
16 things that are unknown knowns, things we think we
17 know but in fact we don't know. As I mentioned, the
18 consequence of this is that any uncertainty estimates
19 have to be looked at as lower bounds. But that
20 doesn't mean that because of that you should do
21 nothing. It's better to approach the problem from the
22 point of view of trying to look at the uncertainty the
23 best you can than to throw up your hands and say,
24 "Well, it's so uncertain I can't do anything."

25 I will just end here with a quote from a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 personal philosophical inspiration of mine. "I know
2 a lot of things, but I don't know a lot of other
3 things. You have to stand for something or you are
4 going to fall for anything." Thanks.

5 MR. NEUMAN: Good morning. As Tom and
6 Phil have mentioned, I'm going to give you a brief
7 summary of a paper that has just appeared on the Water
8 Resources Research Journal website. The paper is
9 right here. Essentially, it deals with this issue of
10 conceptual parameter uncertainty assessment using a
11 methodology that we have developed in the context of
12 a previous NRC project which we are now trying to
13 extent to the area of scenario uncertainty and
14 applications in the context of the current PNNL
15 projects of which I am involved.

16 The motivation for looking at conceptual
17 model uncertainty stems from the recognition that
18 environmental systems, in particular hydrogeologic
19 subsurface systems, are open and complex. As such, if
20 you were given a set of characterization monitoring
21 data, there can be multiple interpretations of these
22 data essentially leading to a system of possible
23 conceptualizations and mathematical models.

24 It is common in hydrology to rely on a
25 single conceptual model. We think that this may lead

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to what is known in statistics as Type 1 Model Error
2 which arises from the rejection by omission of valid
3 alternatives. I have been participating in many
4 critiques and litigations associated with
5 hydrogeologic systems. Almost always the focus is on
6 the conceptual model underlying whatever mathematical
7 model is used to support any given hydrogeologic
8 calculations.

9 Type 2 Model Errors arise when one adopts
10 by not rejecting an invalid model. This is especially
11 critical if there is just one single model, as is
12 always the case. This can be devastating from the
13 standpoint of a person's reputation if he presents a
14 conceptual model in the context of a scientific
15 conference. In the context of litigation, it may cost
16 millions of dollars. In the case of environmental
17 issues, of course, it can lead to environmental
18 damage.

19 Models are based on a single conceptual
20 framework, therefore, underestimate uncertainty by
21 undersampling the valid model space. This is the Type
22 1 Error. And they may introduce statistical bias by
23 relying on an invalid model which is the Type 2 Error.
24 And these uncertainty and bias may be significant.

25 So in order to address these issues, we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have, in the context of our previous NRC project with
2 the University of Arizona, developed a comprehensive
3 strategy of hydrogeologic modeling with special
4 emphasis on uncertainty assessment. The strategy is
5 summarized in NUREG/CR-6805 published by myself and
6 Peter Virenga in 2003.

7 The basic idea there is to account for
8 uncertainties due to three major sources. The most
9 important one that we were focusing on, because it was
10 novel and there were no known ways for addressing it,
11 was the conceptual model uncertainty which of course
12 is manifested in the mathematical model which
13 summarizes the underlying concept. We will refer to
14 this as structural model uncertainty.

15 Model parameter uncertainty has been
16 handled in the past. We have well developed
17 techniques to handle it. But of course, the question
18 is how to combine this with the conceptual model
19 uncertainty aspect. It is relatively easy. The
20 literature is full of techniques that allow one to
21 account for uncertainty enforcing terms. In the case
22 of hydrogeology, that would be source terms, boundary
23 conditions, initial conditions and so on.

24 It is very possible that certain scenarios
25 could be embedded within this level of uncertainty but

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 not all of it perhaps. One key element of this more
2 comprehensive strategy is this Maximum Likelihood
3 Bayesian Model Averaging concept. So what is Bayesian
4 Model Averaging? It is a technique developed by
5 statisticians, especially by the Statistical School of
6 the University of Washington in Seattle. But others
7 have been developing it.

8 It started perhaps ten years ago or so
9 appearing in our literature and has been summarized in
10 a very nice tutorial by Hoeting in 1999. There have
11 been some additions to that since then where the idea
12 is that one considers a set M, call it, of possible
13 conceptual models translated into mathematical models.

14 So we have a set, M1 through MK, of
15 mathematical models, each one based on a different
16 conceptual framework. Suppose we want to predict a
17 quantity Delta, which in the context of hydrogeology
18 could be hydrolic head, velocity, flux of the
19 contaminant, whatever it is that we want to predict.
20 Of course, there can be multiple Deltas. But we'll be
21 focusing on one of these.

22 So what we would like to know is the
23 probability that this Delta is correct given the data.
24 Or what is the probability or distributions of our
25 predictions? In other words, what is the uncertainty

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of the predictions?

2 The idea here is that we would write this
3 posterior distribution of the Delta posterior because
4 it is based on observation of data D as a weighted sum
5 over all the models that we have adopted for our
6 analysis rather than relying on a single model where
7 $P_{\Delta/MKD}$ is the posterior distribution of Delta
8 given by a single model and P_{MKD} is a weight which
9 represents the posterior probability of this model
10 being a correct model.

11 All of these probabilities are implicitly
12 conditioned not only on the data but on our choice of
13 models. So everything is going to be relative to our
14 choice of models. We do not believe that it is
15 possible to assess predictive uncertainty in an
16 absolute sense but only in a conditional sense given
17 a certain set of models, given a certain set of data.

18 One can then easily come up with
19 expressions for the prediction or posterior mean of
20 Delta given as the ensemble average or the statistical
21 average of the quantity we are trying to predict,
22 Delta, given the data, which again is a weighted
23 average of the predictions or ensemble averages given
24 by individual models weighted by the posterior
25 probability of each model.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And the variance can be expressed in a
2 similar manner and can in fact be decomposed into two
3 components; a variance associated with the predictions
4 of a single model, again, weighted by the posterior
5 probability of each model and a variance which arises
6 from differences between the models, the between model
7 variance, and again weighted in the same way. This
8 has been shown by Draper and others in the statistical
9 literature.

10 What is Maximum Likelihood BMA, to which
11 we refer as MLBMA? BMA requires prior information
12 about the parameters of the model. It also would
13 entail for implementation a very large number of Monte
14 Carlo rounds of each model. The idea behind BMA is to
15 enhance the computational efficiency of BMA and also
16 to eliminate this need to rely so heavily on prior
17 information.

18 So the idea then is to approximate some of
19 these probabilities using Maximum Likelihood estimates
20 of the parameters. $\hat{\theta}$ would be a likelihood
21 estimate of the parameter space. θ_K , K being the
22 designation of a particular model. We have models
23 running from M_1 to M_K .

24 In particular, what I have proposed in
25 2002 as part of this previous NRC project is to use a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 so-called model discrimination criterion developed by
2 Kashyap, to which we refer as KIC, to estimate the
3 posterior probabilities of the model MK/D. There are
4 well-established techniques in hydrogeology and of
5 course not only in hydrogeology, but my focus is on
6 hydrogeology, to obtain these Maximum Likelihood
7 estimates and calculate the Kashyap model
8 discrimination criterion.

9 One can do it with or - and I want to
10 stress that - without prior information about
11 parameters. Very often in hydrology, we do not have
12 reliable prior estimates of the parameters. We rely
13 on monitored observation of the system to calibrate a
14 model through inversion against those data and this
15 way, estimated parameters.

16 The approach is valid for both
17 deterministic and stochastic moment models of the
18 subsurface or for that matter any other system. One
19 can then use Monte Carlo or stochastic moment models
20 to estimate the predictive uncertainty of Delta so to
21 obtain an ensemble mean E of Delta given MK, the
22 model, the estimates, Θ hat, and a given set of
23 data, and the same with respect to the variance.

24 Both BMA and MLBMA include a system M of
25 models. The question of course is, how should one

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 choose these models? Of course, we will want to work
2 with models which are physically most plausible. They
3 appear to be qualitatively consistent a priori with
4 the available knowledge and the data so that they form
5 what is sometimes referred to as Occam's window.

6 Otherwise, there would be an infinite set
7 of models that one could consider. So we have to
8 limit ourselves to something that is practical. To
9 the extent that these models are clearly distinct from
10 each other, then it would make sense perhaps to assign
11 prior probability to each model as being simply $1/K$
12 where K is the number of the models. Otherwise, there
13 may be some questions about how to assign these prior
14 probabilities.

15 This is an open question. How should
16 these prior probabilities be determined? What impact
17 will they have on the final result? What we believe
18 is that the more one conditions the models on data,
19 the less important it is what the prior probabilities
20 will be because the posteriors will essentially
21 overwhelm the priors. But nevertheless, it's an open
22 issue that we need to address.

23 So the overall strategy then is to
24 postulate alternative conceptual mathematical models,
25 which in itself is a whole issue, assign prior

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 probability to each model, another major issue, assign
2 prior probabilities parameters of each model - and in
3 MLBMA this is optional, in BMA this is the essence -
4 obtain posterior parameter estimates for each model
5 and an estimation covariance - this is critical - by
6 statistically-based model calibration or inversion,
7 calculate posterior probability for each model using
8 the formula that we have just looked at, predict
9 quantities of interests using each model, assess
10 prediction and certainty, the distribution and the
11 variance in the least, for each model using Monte
12 Carlo or a stochastic moment method which does not
13 require Monte Carlo and is therefore computationally
14 potentially more efficient, weigh predictions and
15 uncertainties by corresponding posterior model
16 probabilities - this is the BMA concept - and sum
17 these over all the models so that there is a weighted
18 average prediction of both the quantity of interest
19 and the uncertainty associated with it.

20 I'm very quickly going to go through our
21 first application of this which was done primarily for
22 demonstration and analysis purposes. It may not be
23 directly relevant to NRC interests. But nevertheless,
24 from a purely scientific standpoint, we think that it
25 has provided us with a pretty good case study.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Some of you may remember the Apache Leap
2 Research Site in Arizona which is unsaturated tuff.
3 We have conducted a number of single well and cross
4 well pressure interference tests at the site. You can
5 see the boreholes there. Here, I'm going to talk
6 about one meter scale packer tests which have provided
7 us with over 180 measurements of air permeability in
8 this fracture domain.

9 The question we are going to ask ourselves
10 is, what is the best geostatistical model of spatial
11 correlation to apply to these data? If you look at
12 those data and plot a sample correlation
13 representation in the form of a variogram between
14 those data - these numbers by the way indicate how
15 many pairs were available for each point on this
16 correlogram, variogram type plot, lag distance is the
17 distance between data - there is a variety of models
18 that one can fit to this spatial correlation model.

19 We are going to, in particular, look at a
20 fractal power model, models that treat the medium as
21 homogeneous statistically. Those are the exponential
22 in this model, and models which superimpose on this
23 homogeneity a trend or a drift. Those are the first
24 order and the second order polynomial drift models,
25 altogether a number of models.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 It is well known that if one tries to
2 estimate jointly by Maximum Likelihood, both the
3 variogram and the drift parameters in some of these
4 models, which have most of them, one can obtain biased
5 estimates. So we have come up with a two step
6 procedure to avoid this bias. I will not go into
7 those details because they are technical.

8 But just to give you a very quick idea, it
9 is possible using a method called Universal Kriging
10 coupled with a Maximum Likelihood parameter estimation
11 scheme, to which we refer as the Adjoint State ML
12 Cross Validation scheme, it is possible to estimate
13 variogram parameters without estimating the drift
14 parameters. Once we do this, to the extent that a
15 model includes drift, we then estimate it by so-called
16 generalized lead squares.

17 There is a table here showing our
18 calculated posterior model probabilities for each one
19 of these. Let's start from the top. You can see the
20 various models designated Pow0. This is the power
21 model. Exp0, this is the exponential correlation
22 model with added drift. Sph0 is a spherical model
23 without a drift. One indicates a linear drift and two
24 indicates a quadratic drift. This is all in three
25 dimensions.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The second row is important because it
2 indicates the number of parameters associated with
3 each one of these models. The third one is the
4 negative log likelihood, a measure of model fit to the
5 data that I was showing you. If one went strictly by
6 the model fit, one would probably select the
7 exponential two model which has the lowest value of
8 NLL.

9 And yet, the model discrimination
10 criterion KIC would select other models. We have, by
11 the way, looked at various other model discrimination
12 criteria. For those of you who are familiar with this
13 concept, there are others called IKE and VIC and so
14 on. We have tried them all. They do not give a
15 consistent ranking of these models.

16 What is typically done in situations such
17 as this is, people do the parameter estimation, look
18 at these model discrimination criteria, and use them
19 to select one model and discard all the others. It's
20 very clear from this example that doing so is really
21 without justification. First of all, these criteria
22 are very close to each other. Second, their ranking
23 is not entirely consistent.

24 So this is where we come in and say, "How
25 about selecting several of these models and analyzing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 them jointly?" We do it twice. The first time we
2 assign a probability $p(M_k)$ to every one of these
3 models equal to $1/7$ because there are seven models.
4 The second time, based on the calculated posterior
5 model probabilities which essentially give zeros for
6 three of these models, for Exp2, Sph0, and Sph2, the
7 second time, we ignore those three saying they have
8 very low probability.

9 One could also ignore the one with the
10 very low probability of 0.51. But we keep this in the
11 picture and redo this by assigning a $1/4$ to each one
12 of these four non-zero probability models and
13 essentially get very similar results in this
14 particular case. It's not clear that that's what's
15 going to happen always.

16 We will run very quickly through some
17 figures which show you two dimensional sections
18 through a three dimensional volume over which we
19 estimate log permeability and plot it for the various
20 models on the top. At the bottom, we plot the
21 corresponding estimation variance. If you look at
22 these pictures, you will see that the models give very
23 similar estimates of the parameters.

24 So if all you wanted was an estimate, you
25 could use almost any one of these models and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 differences wouldn't be large. Where the differences
2 are really large is in the variance of the estimation,
3 meaning at the bottom. So it's the bottom where you
4 will see differences.

5 Let's go to those other two. So this is
6 Expl and Sph1. We now have four models only that we
7 have retained. We have eliminated three of those
8 based on the posterior probabilities that you have
9 seen. And now, BMA. So the posterior mean here is
10 the weighted sum - we used a method called Kriging to
11 do the estimation - of the Kriging estimates.

12 The posterior variance according to the
13 formula I have shown you before is the weighted sum of
14 the within-model and between-model variances and the
15 weights, of course, as the posterior model
16 probabilities. Again, the estimate is very, very
17 similar but the variance now is different.

18 So the summary of this. The posterior
19 probability is the weighted sum of the model
20 probability. You can see that the heavy solid black
21 line is a compromise between the various models. The
22 variances are shown at the bottom. Again, it's a
23 compromise between the variances of the various
24 others. In this case, we are looking at the variance
25 average over all the points or pixels within this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 three dimensional block of pixels.

2 More important is cross validation. In
3 order to see how well each model individually can
4 predict data and how well or poorly MLBMA will do, we
5 look at six boreholes. We have data from six
6 boreholes. So we ignore measurements of log
7 permeability data from one borehole at a time, use the
8 remaining data to estimate these, and then compare
9 with the known values that have been measured in each
10 one of these boreholes.

11 So we estimate the value of the parameters
12 and model probabilities based on the remaining data,
13 assess and compare the predictive capabilities of the
14 models, and BMA. This just indicates the sensitivity
15 to the data. We have compared this - we don't see the
16 comparison here - sensitivity to other model
17 discrimination criteria which would also be used in
18 our context such as IKE and VIC and so on and come to
19 a conclusion that is not new that the KIC
20 discrimination criterion appears to be the most
21 sensitive to data.

22 This is one major reason why we advocate
23 using KIC because otherwise someone could use
24 something else as well. More importantly, a measure
25 of predictive capability is the so-called log score,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the negative natural logarithm of the posterior
2 probability of predicting DT or data that were ignored
3 using a model M_k and the set of data DB which have
4 been used or are being used for the purpose of the
5 prediction.

6 So for a single model, it's just a minus
7 log of the posterior probability of DD for a given
8 model, and then for BMA we have summed them up
9 weighted by the posterior probabilities of the model.
10 You can see that BMA provides the least predictive log
11 score meaning the highest probability that its
12 predictions are correct in comparison to the
13 individual model. The smaller, the less information
14 is lost.

15 Another measure of predictive capability
16 is the so-called predictive coverage where we generate
17 by Monte Carlo simulation the whole range of possible
18 results. We look at the 90 percent interval of the
19 generated values and want to know to what extent the
20 actual data lie in this in-depth prediction interval.
21 Here you want, of course, the largest amount of data
22 to lie in the predictive interval. Again, BMA covers
23 a larger range than the other model. It's very close
24 to the power model, but it's certainly very different
25 from the other two models. The larger, the better the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 model's predictive capabilities.

2 So to summarize, we found that MLBMA
3 provides a theoretical as well as a working framework
4 for prediction under uncertainty which accounts
5 jointly for model structure uncertainty, the
6 conceptual framework, the nature of the mathematical
7 equations that are going to the model, the parameters
8 that go into this equation, and though we haven't
9 really looked at it from a theoretical standpoint, we
10 know that we can account for forcing terms, which
11 again I want to suggest already embed at least a
12 certain class of scenario ranges.

13 By changing the forcing terms, you
14 essentially change the regime, the scenarios under
15 which things happen and all of this in a manner which
16 is consistent with everything that we know about the
17 system and the available data. In this particular
18 example, we have shown that MLBMA is superior to
19 individual geostatistical models of data at DLRS.
20 Thank you.

21 MEMBER HORNBERGER: Thank you very much.
22 Is that it, Tom?

23 MR. NICHOLSON: That's it.

24 MEMBER HORNBERGER: Great. Very
25 interesting. So I'm sure there are questions. I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 think we should give our Bayesian first crack here.

2 (Laughter.)

3 CHAIRMAN GARRICK: You've given us a
4 little more than I can digest in 30 minutes. I find
5 consistency in a lot of areas between what you are
6 trying to do particularly with respect to modeling
7 uncertainty which is the key one that we need to deal
8 with in many respects and the way we have done it for
9 a couple of decades in some of our large risk
10 assessments.

11 But I do have a few issues of
12 clarification. My biggest problem is trying to
13 connect what you are doing with the way I have been
14 practicing this business for a long time. Maybe I
15 should start with that in a simplistic way. The way
16 we build risk models and try to account for
17 information uncertainty - we sometimes prefer to call
18 it information uncertainty over parameter uncertainty
19 - and modeling uncertainty is we kind of look at a
20 risk assessment as a structured set of scenarios.

21 That right there brings us to a different
22 interpretation of what is meant by a scenario. In the
23 work that we've had a lot of experience with, what a
24 scenario is is basically a pathway from some sort of
25 an issue condition or initiating event to some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 consequence. Each pathway may result in a different
2 consequence.

3 So what we do is we structure our
4 scenarios usually in some sort of an event tree format
5 such that we can clearly account for the intervening
6 events between the initiating event or the initial
7 condition and the endstate or the consequence. As a
8 result of that and all the combinations and
9 permutations you get, you get a lot of endstates
10 depending on what intervenes with the scenario as it
11 progresses.

12 So one very convenient structure has been
13 to look upon a risk assessment as a set of scenarios.
14 For each of these scenarios, we determine a
15 probability of the scenario. That probability is
16 based on, of course, all of the evidence. For the
17 most part, the work has not been as accountable for
18 modeling and conceptual uncertainty as it has been for
19 information and parameter uncertainty.

20 Then when we get all the scenarios, we
21 convolute those scenarios on the basis of reordering
22 them in terms of increasing consequences and then
23 cumulating them from the bottom into a family of
24 complimentary cumulative distribution curves. Then we
25 have a very nice display of not only the risk

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 associated with each scenario but the total risk of
2 the system that we're analyzing. That's the basic
3 structure that we've done for two or three decades.

4 Now, one of the things here that's very
5 different, of course, is what is meant by a scenario.
6 Although, it may not be as much of a difference when
7 I look into it more carefully than I'm able to do just
8 on the basis of your presentation. But a couple of
9 things that I have questions about are, when you talk
10 about a scenario and calculating the uncertainty of a
11 scenario, embedded in that analysis, of course, could
12 conceivably be the so-called structural uncertainty
13 and the modeling uncertainty so that that becomes a
14 result that embraces both parameter uncertainty and
15 our information uncertainty and modeling uncertainty.

16 So I don't look at that as a different
17 kind of uncertainty as the methodology that you have
18 been discussing about seems to kind of imply that this
19 is a different uncertainty. That may be just because,
20 as I said earlier, we're talking about a different
21 definition of what we mean by scenario.

22 The other thing that you said that I'm
23 having a little trouble wrestling with is - I guess it
24 was said by Phil - that single conceptual model
25 inevitably leads to an underestimate of uncertainty.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 There I have a misunderstanding of what you mean
2 because I have seen a number of conceptual models that
3 led to an overstatement of uncertainty. It's just a
4 lousy model, a conservative model.

5 One other thing I would suggest on things
6 like this curve here of the posterior probability and
7 the weighted sum of model probabilities where you show
8 the results of the different models, I assume those
9 results are mean values.

10 DR. NEUMAN: Yes.

11 CHAIRMAN GARRICK: It would be very
12 informative to see the family of curves representing
13 the uncertainty of each of those models.

14 DR. NEUMAN: We have both the mean and the
15 values.

16 CHAIRMAN GARRICK: Right. But I mean if
17 you were to plot between some reasonable bounds, say,
18 of five percent and the 95 percent because that would
19 communicate to you not only what the results are in
20 terms of the central tendency parameters but how the
21 model works with respect to the treatment of
22 uncertainty.

23 DR. NEUMAN: Right. Well, actually the
24 results that we have -- Let me start from the back and
25 move backwards in addressing the issues that you have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 raised, each of which, I think, is very, very well
2 taken. As far as presenting the results, we present
3 those mean values which are the predicted values and
4 then look at the variance of the estimation error or
5 rather the prediction error. So I think we do have,
6 as well as the distribution of the estimation errors,
7 both the prediction and various measures of how good
8 those predictions are.

9 The second point that you raised remind me
10 please. What was that? Because now I'm confused.
11 You raised three points. The single model. The idea
12 of the single versus multiple models is that what we
13 normally do, at least in hydrogeology, is adopt a
14 single conceptual model on which we build a
15 hydrogeological mathematical model for a site, for
16 example, Yucca Mountain or whatever and then study
17 uncertainty on the basis that the model is correct and
18 the uncertainty results from our inability to evaluate
19 exacting what the parameter values are. So
20 essentially it's the parameter uncertainty that is
21 normally being evaluated.

22 If you assume that the model is correct
23 and only look at the uncertainty associated with the
24 parameters, then you have undersampled the space of
25 potential models because there may be other models

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that also are associated with their own parameter
2 uncertainty and if you were to add those too fro
3 multi-curves, you would most probably have a wider
4 range of uncertainty to superimpose. That's the idea.

5 CHAIRMAN GARRICK: Yes, I see what you're
6 saying.

7 DR. NEUMAN: As far as scenario
8 uncertainty is concerned, the type of scenario that I
9 mentioned, I specifically suggested it is a very
10 limited definition of scenario, scenarios that result
11 from forcing terms in a particular conceptual
12 framework and parameterization framework. We fully
13 recognize that uncertainty in the model itself or
14 changes in fact in the system may represent a scenario
15 and changes in the parameters may represent a
16 scenario. But the focus of this particular proposal
17 is to go way beyond that in the definition of
18 scenarios. Here I would rather defer to Phil in
19 filling in this information about what we will be
20 meaning by scenarios.

21 DR. MEYER: Let me just first comment on
22 your comment about the question about the single
23 conceptual model and how you said you've seen cases
24 where the uncertainty was grossly overestimated with
25 the single model because it was a poor model.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN GARRICK: Yes.

2 DR. MEYER: So our perspective on that
3 issue is if you only have a single model and your
4 model happens to be poor, then you're going to make a
5 poor decision one way or the other. The advantage
6 from the outset of trying to look at multiple models
7 acknowledging that it's valuable to try to formulate
8 alternative models from the get-go will lead you into
9 the process doing so and then the quantitative methods
10 that we describe can be used to assess the posterior
11 probability of those models.

12 In the case if you go out and have three
13 or four models, it depends upon your data, of course,
14 but in a situation where one of those models is very
15 poor, that is, it's poor with respect to representing
16 observations that you have at the system, then that
17 model, like was the case with some of the models that
18 were considered in the Apache Leap example, ends up
19 with a very small posterior model probability. So you
20 eliminate those models from the analysis from any
21 further consideration. That may be the case of what
22 happened.

23 CHAIRMAN GARRICK: Right.

24 DR. MEYER: But Shlomo's point is accurate
25 that if you're considering additional models from a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 common sense point of view, you can only be increasing
2 the total uncertainty to consider between the models.

3 DR. NEUMAN: Just to add one point to that
4 and that is if you just have a single model which is
5 wrong and estimate --

6 CHAIRMAN GARRICK: But just picking up on
7 the quotes that you showed, you don't always know that
8 it's wrong.

9 DR. NEUMAN: Right. You don't know what
10 is wrong, so the result of that is statistical bias.

11 CHAIRMAN GARRICK: Yes.

12 DR. NEUMAN: You may or may not know that
13 your model is bias. Typically, you will not because
14 you start from the premise that your model is correct.

15 CHAIRMAN GARRICK: Right.

16 DR. NEUMAN: And then you superimpose on
17 this a probability distribution of an uncertainty
18 evaluation or assessment which is purely based on
19 uncertainty of parameters and may be the input
20 functions, the forcing terms. So now you have a
21 distribution about an incorrect mean.

22 CHAIRMAN GARRICK: Yes.

23 DR. NEUMAN: You take another model. The
24 mean is going to be different and the distribution is
25 going to be different.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN GARRICK: Sure. Right.

2 DR. NEUMAN: So that was the idea.

3 CHAIRMAN GARRICK: One of the things that
4 I was interested in also was your frequent comments
5 about the difficulty of establishing prior
6 probabilities. In practice, we haven't found that to
7 be such a big issue as a Bayesian.

8 I never really quite understood why people
9 who are somewhat anti-Bayesian say "It's okay except
10 where do you get your priors?" Well, you get your
11 priors from what you know. And then you proceed from
12 there to try to infer from additional information
13 through Bayesian methods what the impact is on that
14 prior. As you said, in many instances, what was the
15 prior distribution didn't matter much anyhow because
16 the posterior information dominated the outcome. So
17 in practice, it really hasn't been the issue that we
18 often hear in people who are not extensive users of
19 Bayesian methods or more specifically, people who are
20 somewhat anti-Bayesian.

21 DR. MEYER: The reason we emphasize that
22 point is because in our experience of presenting this
23 stuff in the past including to an audience filled with
24 experts that have had a lot of experience in the
25 general area of uncertainty assessment that we've

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 gotten a lot of questions about that and concern
2 raised along the lines that you suggest. So that's
3 why we've put the point in.

4 CHAIRMAN GARRICK: Yeah. Well this is
5 fascinating work and very important work because I
6 think we have a long ways to go to get a real handle
7 on the contribution to uncertainty from the conceptual
8 model from the modeling standpoint. And I have many
9 more questions than I want to take the time to deal
10 with now, but let me just encourage you to continue.
11 You might search for a simplification of the methods
12 in some areas.

13 DR. MEYER: Can I just make a comment
14 about the description you gave of probabilistic risk
15 versus risk assessment.

16 CHAIRMAN GARRICK: Right.

17 DR. MEYER: Very well developed
18 particularly in a reactor safety area. I've thought
19 about the differences and how to reconcile the
20 terminology and the applications and I haven't really
21 reached a determination.

22 CHAIRMAN GARRICK: Well, we're really
23 having a problem with that in other nuclear materials,
24 so I can appreciate that. Although I think that
25 there's some real basic approaches and practices that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are transferrable. Those are the ones, of course, we
2 want to take advantage of as much as we can.

3 DR. MEYER: One of the issues that I see
4 in that area, and someone from the NRC Staff can
5 correct me, but in the reactor safety area, it seems
6 like the regulations, the requirements at the end, the
7 end state, has been probabilistically based for a long
8 time. Whereas, in the nuclear waste area, the
9 endpoint, the criterion, is not probabilistically
10 based. It's a deterministic one.

11 CHAIRMAN GARRICK: Yeah, we're working on
12 that. Mike?

13 VICE CHAIRMAN RYAN: I don't have any
14 questions to that.

15 CHAIRMAN GARRICK: Ruth?

16 MEMBER WEINER: First of all, I want to
17 agree with my colleague, Dr. Hornberger. This was an
18 absolutely fascinating presentation and I want to
19 thank you all very much. Now my questions are a lot
20 more naive than Dr. Garrick's, so please excuse their
21 naivete ahead of time. Dr. Neuman, what's the most
22 valid counter-argument to your approach?

23 DR. NEUMAN: One of the counter-arguments
24 that I have already received from colleagues is that
25 it doesn't make sense to speak of numerous conceptual

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and mathematical models because in order to develop
2 only one for a given site, it takes a tremendous
3 amount of time, effort and money. So when it comes to
4 major site based models of flow and transport and
5 three dimensions over a given region and so on, the
6 chances of people actually postulating more than one
7 model and willing to actually work fully through the
8 entire modeling process including uncertainty
9 assessment with more than one model is not going to be
10 practical.

11 My answer to that is it depends on how
12 important this is to the project. If it is important,
13 then the money should be found to be done. Typically
14 what happens is that people get together in a room,
15 argue out based on the available data and
16 understanding of a given site, a given system, their
17 various viewpoints and then one group that does the
18 actual modeling will go and decide "Okay, based on
19 what everybody else has said here is how we are going
20 to conceptualize the site." But many viewpoints,
21 then, remain unrepresented. So that's one counter-
22 argument.

23 The other counter-argument is the anti-
24 Bayesian argument that Dr. Garrick has pointed out and
25 that is there are fundamental issues associated with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what is the meaning of prior probabilities. How do
2 you know that you have selected the correct set of
3 models within that set M of so many models that you
4 are working with?

5 My answer to the first one is very similar
6 to what Dr. Garrick has said and that is I am hoping
7 that I will be working in a situation where the data
8 will eventually overwhelm my priors. So my priors
9 represent in our view our understanding of the system.
10 It's subjective. What is our current concept of how
11 this system may operate? What the uncertainty
12 associated with the various models is?

13 There is a valid question raised by
14 statisticians about the possibility of including in a
15 set of seven models three that are very similar to
16 each other and in our example from the Apache Leap
17 site for example, one could argue that the three
18 exponential models essentially belong to one family
19 and to spherical models or three spherical models
20 belong to the same family. So maybe what one should
21 do is dilute their prior probabilities.

22 We have played with that concept in our
23 paper. I haven't shown you the results. The results
24 are sensitive in our case to the priors, not to a
25 great extent, but to a sufficient extent to raise some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 concern. The only way that I see that that can be
2 addresses is sensitivity analysis of these kinds where
3 you try different kinds of priors and then if you
4 establish that you cannot distinguish between them,
5 maybe use this model as a means of guiding future data
6 collection so as to if you believe that it's worse,
7 then reduce the uncertainty and the ambiguity
8 associated with that.

9 Another possible weakness which I think is
10 a strength on one hand, but weakness on the other is
11 the maximum likelihood approximation because it's an
12 approximation. If it's not done correctly, it may
13 lead to statistical bias in the estimates. That's why
14 we were concerned with that in our particular
15 application.

16 We don't really have a full answer to the
17 question "How good that approximation is as compared
18 to the full BMA without the ML, maximum likelihood,
19 approximation". So there are quite a number of open
20 questions, I think. It's the first application of
21 Disto hydrology (PH) and the first application of ML
22 of this kind of ML application because they are
23 related in statistics that I think need to be
24 addressed.

25 MEMBER WEINER: Have you applied it to any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 systems other than the geohydrologic systems? I ask
2 because intuitively having worked with single models,
3 you always get a different model that's going to give
4 a different answer. That's always true and
5 intuitively you think "Well, if I use more than one,
6 if I put more than one into this construct, I will get
7 a better result." Have you applied this to any other
8 system?

9 DR. NEUMAN: Not we, but statisticians
10 have done so. Over the last decade, there have been
11 a number of papers that this concept of BMA has become
12 quite widespread among biogen statisticians.
13 Typically they would apply this to much simpler
14 systems than the ones that we deal with. We are
15 hoping and, of course, we are developing this Hanford
16 application which I think is going to be interesting.
17 But, yes, there is in the literature a number of
18 examples worked out by statisticians.

19 MEMBER WEINER: I have a lot more
20 questions like Dr. Garrick, but I won't take up the
21 time of the audience. Thank you very much by the way.
22 I did have a question for Dr. Meyer. It's a really
23 simple question. You mentioned that in your vertical
24 drill-down at the Hanford site that properties varied
25 by orders of magnitude. Is that true for adsorption

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 onto the soils also? Does that also vary by orders of
2 magnitude if you go down?

3 DR. MEYER: The laboratory data shows that
4 the uranium adsorption at the Hanford site is very
5 sensitive to ph and total carbonate in solution. That
6 does vary over the range of possible values by orders
7 of magnitude, but the belief is that the ph is
8 buffered very quickly by the soil, so ph is really not
9 that important at the site.

10 The total carbonate does vary because you
11 have rainwater coming in and then it interacts with
12 the solids. You have river water that is mixing at
13 the river zone, but that variation in the KD value of
14 the linear model in your adsorption model is like 1^{10}
15 maybe.

16 MEMBER WEINER: I just wondered about
17 that. I have one more that I cannot resist. Is the
18 result from an invalid model always bad? Is there
19 mathematical proof of that?

20 MR. NEUMAN: Huh. That's a very
21 interesting question. Is it always bad? I guess not.
22 It depends on how you use the model. It is possible
23 very often to fit almost any model to a wide range of
24 models to given data and clearly, not all of these
25 models represent the system equally well. Because we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 deal with natural systems, not engineered systems or
2 at least not fully engineered systems, we really don't
3 know what the correct model is.

4 What we do know is that using the wrong
5 model for long term prediction is an issue of
6 extrapolation which is always dangerous. It's not
7 always bad, but it is always dangerous. I have at
8 least two examples. In the 1970s, the late Professor
9 Raimi from Stanford and very well known petroleum
10 engineer, developed a very, very simple model for
11 pressure and temperature evolution in the Wairaqi
12 geothermal field in New Zealand which they then used
13 to predict these temperatures and variations in
14 pressure within this system over several decades.

15 They discovered after about ten years that
16 the predictions are completely off. The reason for
17 that was that while they were developing the model and
18 calibrating this simple model against existing data
19 the Wairaqi system was dominated by hot water. But
20 in ten years, the system flushed and developed into a
21 two-phase water vapor system. At that point, of
22 course, the governing equations were completely
23 different.

24 The other example is some looks back by
25 Conoco of the U.S. Geological Survey and others at how

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 well did models of groundwater contaminant transport
2 develop in the `70s and the `80s turn out to predict
3 actual situations in aquifers at various sites. They
4 found, of course, that with time the predictions
5 started deviating as one should expect actually from
6 what was actually found.

7 One reasons for that was that the forcing
8 turn simply did not correspond to what they assumed
9 when they developed the model. Another reason is at
10 that time our modeling capacities were nothing as good
11 as what they are today. But the third one is simply
12 that the model themselves are not entirely reliable.
13 I know that in the petroleum area where modeling is
14 used continuously to plan the production modes and
15 quantities of petroleum and gas from reservoirs they
16 never use a model for more than just a few years
17 without recalibrating it to the data as more data come
18 in fully being cognizant of the fact that long term
19 predictions are a problem.

20 MEMBER WEINER: Thank you.

21 MEMBER HORNBERGER: At the risk of
22 exposing myself as being Phil's Class 4, *i.e.*,
23 thinking I know something that I don't, it strikes me,
24 if I understand correctly, your maximum likelihood
25 approach that if you use the KIC or the information

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 criterion to basically as a likelihood wait to
2 evaluate your posterior probabilities for your model.
3 Is that it?

4 DR. NEUMAN: No, not directly. It enters
5 into a formula for the posterior model probability.

6 MEMBER HORNBERGER: Right.

7 DR. NEUMAN: The actual formula is in one
8 of the appendices of the paper that you received.

9 MEMBER HORNBERGER: Okay. So loosely
10 speaking, that's --

11 DR. NEUMAN: Right. Loosely speaking,
12 right.

13 MEMBER HORNBERGER: I guess what I don't
14 know and if this is a long answer, we'll just skip it.
15 You intimidated that if one did Monte Carlo
16 simulations that this posterior probability would
17 automatically pop out. That's obscure to me.

18 DR. NEUMAN: What I was talking about
19 actually is a comparison of -- Okay. I don't have
20 that formula here, but it's in the paper. Do you have
21 the paper?

22 MEMBER HORNBERGER: Not in front of me.

23 DR. NEUMAN: Okay. In BMA - I'm looking
24 at the paper now at a formula which is not in the
25 slides - equation 3 is an expression for the posterior

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 - of course, posterior - likelihood function of a
2 given model and it is given as the integral of the
3 likelihood function of a given model and its
4 parameters. So you have an integral P of D/θ , the
5 parameter, M , the models, multiplied by the
6 probability of the parameters for a given model
7 integrated over the parameter space.

8 So if you use this formula, you absolutely
9 have to have a prior probability of the parameters for
10 a given model and then you integrate that over the
11 entire probability space meaning you have to generate,
12 unless it's a very simple case which you could do it
13 analytically, by Monte Carlo simulation a huge number
14 of these. You fully rely on priors whereas in ML
15 because of our experience in hydrology that we very
16 often do not have good priors, but in fact, rely upon
17 observations of actual system behavior to get at
18 these, we kind of kill both birds at the same time,
19 introduce this question of how good is the
20 approximation, but nevertheless, skip this.

21 MEMBER HORNBERGER: Just one last question
22 then. Shlomo, you started out by saying that you've
23 been involved in critiques and litigation. So I have
24 a question. If you were involved in a critique and
25 somebody had - we'll use your Apache Leap example -

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 chosen a single model and let's say it was your EXP0
2 model.

3 DR. NEUMAN: Yes.

4 MEMBER HORNBERGER: So you go through all
5 of yours and you say "Yes, your maximum likelihood
6 Bayesian give you better examples than the cross-
7 validation anyway." But if you're critiquing, would
8 there be any reason that you would then say "Aha, you
9 picked the wrong model" because you picked your EXP0
10 model?

11 SR. NEUMAN: Well, the one thing that
12 would come out of this approach is a comparison of
13 these models both in terms of the various
14 discrimination criterion, particularly the KIC
15 criterion. If there was a big difference between
16 these, you would say "Aha, there's another model we
17 just match better." But I think more telling would be
18 the posterior probability and you saw that at least
19 three of the models, in fact, four of the models, had
20 zero or extremely low posterior probability.

21 Based on that, if you selected one of
22 them, I would be able to tell you "Look, you have
23 selected a model which has a very low probability of
24 being the correct one given the existing data." You
25 could still come back and argue "Well, maybe if I had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 other data that this model would turn out to be
2 better" and you might be right and I wouldn't be able
3 to argue against you.

4 MEMBER HORNBERGER: But if I had picked
5 one of your models that had a posterior probability of
6 35 percent, would you say that I was wrong?

7 DR. NEUMAN: No, I would not say that you
8 are wrong. I would say you had probably picked a
9 model which is almost equally likely to my other
10 models and you are fine. So, yes, absolutely.

11 MEMBER HORNBERGER: Questions from Staff?
12 Mike?

13 MR. MAJOR: As the committee -- Well, let
14 me back up or pitch this differently. Can the maximum
15 likelihood approach be used to homogenize competing
16 conceptual models? If a decision maker can't choose
17 between competing conceptual models, can you use this
18 approach to -- I think this goes to your slide 18 on
19 BMA results.

20 DR. NEUMAN: Yes, I'm glad you asked this
21 question because actually I've been asked the same
22 question many times after making this presentation,
23 apparently not making myself clear enough that the
24 whole idea of this approach is to do precisely what
25 you are suggesting rather than selecting the best

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 among a selected model which is what people used to
2 do.

3 MR. MAJOR: Right.

4 DR. NEUMAN: We look at these models,
5 evaluate them in light of the data from an uncertainty
6 aspect and then say "We can get rid of these, but we
7 should keep the other four and produce a weighted
8 average prediction with all four." So that's actually
9 what we do which another way is to actually average
10 out homogenize the predictions. Yes.

11 DR. MEYER: I'll just make a comment that
12 your question is directly related to that one. Why
13 just not pick one model? You have three there about
14 equally weighted. In this particular application, the
15 intermodel variability was relatively small. As
16 someone pointed out, if you pick one of those three
17 models, you're probably okay, but that might not be
18 the case in some other situation.

19 You might have a very large
20 intervariability and what that means is if you pick
21 one model, you could get very different results than
22 if you pick another model even though they have equal
23 probability, the predictions, if they are
24 significantly different. That means that an approach
25 like this where you keep all those models is more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 valuable than in our application where the models
2 really gave very close predictions. Does that make
3 sense?

4 MEMBER HORNBERGER: Yeah, and I do
5 understand that. My question wasn't quite that naive,
6 but I also think that in the case you just outlined,
7 you might get some arguments from people if you were
8 in a litigation situation.

9 DR. MEYER: Yeah, and also the greater the
10 variability between models the more incentive there
11 is, in terms of their prediction, to go out and try to
12 resolve those differences.

13 DR. NEUMAN: My point about the litigation
14 was not that people look at alternative models, but
15 that the easiest thing to do in a litigation situation
16 is to attack the underlying concept, so you have this
17 very elaborate model, but "Wait a second. Where do
18 the assumptions come from?"

19 MEMBER HORNBERGER: Absolutely. Neil.

20 MR. COLEMAN: Most of the sites that NRC
21 and EPA look at in licensing work, it's remediation
22 work for when it's looking at different contaminants
23 that have been introduced. Now those, in my
24 experience, provide very useful traces for better
25 understanding and differentiating conceptual models

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and the plausible ranges of parameters just as
2 physicians use technicium-99M to understand processes
3 in the human body. Does the documentation that you
4 folks have developed give guidance on how best to use
5 the early information that one has on patterns of
6 contaminants at any site to early on narrow down the
7 range of plausible conceptual models?

8 DR. NEUMAN: I don't think that we have
9 done so specifically. If you look into the NUREG
10 CR6/CR6805, the one that I reference here on the
11 strategy, we have looked at and discussed and not
12 precisely documented but discussed various ways in
13 which hydrogeologic data of all kinds should enter
14 into the process of constructing alternative
15 conceptual models. One example in which some tracer
16 data -- Well, actually, not tracer data. I'm trying
17 to think if there were any.

18 The only example in which tracer data
19 actually entered, strictly speaking, was the Frai au
20 Gere (PH) example, which is an abandoned uranium mine
21 in fractured granite in France where we have tracer
22 data, but not in the context that you are mentioning
23 where both hydraulic and tracer data entered into the
24 comparison of two different models. I'll be
25 discussing that tomorrow, but not specifically what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you are saying.

2 MEMBER HORNBERGER: Okay. We're actually
3 on a fairly tight time schedule this morning. We
4 thank you very much and I'm going to turn the meeting
5 back to the Chairman.

6 CHAIRMAN GARRICK: Thank you. My reading
7 of the agenda says that this is pretty much the time
8 when we can adjourn the meeting. I would like to ask
9 the Committee to hang around for a little while
10 because we might have some other things to talk about
11 one on one outside of the agenda. So with that, I
12 think we will adjourn. Off the record.

13 *(Whereupon, the above-entitled matter was*
14 *concluded at 10:07 a.m.)*

15

16

17

18

19

20

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701