

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Nuclear Waste
151st Meeting

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Wednesday, June 23, 2004

Work Order No.: NRC-1547

Pages 1-226

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

+ + + + +

151ST MEETING

ADVISORY COMMITTEE ON NUCLEAR WASTE

(ACNW)

+ + + + +

TUESDAY, JUNE 22, 2004

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Advisory Committee met at 10:00 a.m.
at the Nuclear Regulatory Commission, Two White Flint
North, Room T2B3, 11545 Rockville Pike, Michael T.
Ryan, Acting Chairman, presiding.

COMMITTEE MEMBERS:

- MICHAEL T. RYAN Acting Chairman
- JAMES CLARKE Consultant
- ALLEN G. CROFF Invited Expert
- GEORGE M. HORNBERGER Member
- RUTH F. WEINER Member

1 ACNW STAFF PRESENT:

2 JOHN T. LARKINS, Executive Director

3 NEIL COLEMAN

4 HOWARD J. LARSON, Designated Federal Official

5 MICHAEL LEE

6 GEOSPHERE TRANSPORT WORKING GROUP:

7 JAMES DAVIS, U.S. Geological Survey

8 RICHARD PARIZEK, Pennsylvania State University,

9 NWTRB member

10 DONALD SHETTEL, Geoscience Management Institute, via

11 videoconference

12 INES TRIAY, U.S. Department of Energy

13 ALSO PRESENT:

14 ROBERT ANDREWS, U.S. Department of Energy

15 BILL ARNOLD, Sandia National Laboratory, Bechtel

16 SAIC Company

17 PAUL BERTETTI, Center for Nuclear Waste Regulatory

18 Analysis

19 ANDY CAMPBELL, NMSS

20 KEITH COMPTON, NMSS

21 TIM McCARTIN, NMSS

22 JAMES WINTERLE, Center for Nuclear Waste Regulatory

23 Analysis

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

I-N-D-E-X

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

<u>Agenda Item</u>	<u>Page</u>
Opening Statement	4
NRC's Performance Assessment and Risk Perspective	5
Presentations	
Don Shettel, State of Nevada	58
Tom Buqo, Nye Co., NV	79
Dale Hammermeister, Nye Co., NV	96
Les Bradshaw, Nye Co., NV	123
Working Group Roundtable Panel Discussion on Geosphere Transport	
Richard Parizek, Penn State Univ.	169
Ines Triay, US DOE	181
Committee Summary and Discussion	184
Adjourn	226

P-R-O-C-E-E-D-I-N-G-S

(9:01 a.m.)

ACTING CHAIRMAN RYAN: The meeting will come to order. This is the second day of the 151st meeting of the Advisory Committee on Nuclear Waste.

My name is Michael Ryan, Vice Chairman of the ACNW. Chairman John Garrick is unable to attend.

The other members of the committee are present: George Hornberger and Ruth Weiner. Also present are consultants Allen Croff and Jim Clarke.

During today's meeting the committee will continue the working group on the geosphere transport of radionuclides at the proposed Yucca Mountain high-level waste repository.

Neil Coleman is the designated federal official for today's initial session.

The meeting is being conducted in accordance with the provision of the Federal Advisory Committee Act. We have received no written comments or requests for time to make oral statements from members of the public regarding today's sessions. Should anyone wish to address the committee, please make their wishes known to one of the committee staff.

It is requested that the speakers use one of the microphones, identify themselves, and speak

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with sufficient clarity and volume so that they can be
2 readily heard.

3 Without further ado, I will turn over the
4 meeting to our working group meeting chairman, George
5 Hornberger.

6 MEMBER HORNBERGER: Thank you, Mike. As
7 Mike said, we are going to continue our discussion on
8 the geosphere activities. Yesterday we heard a lot of
9 the detailed presentations from both the NRC people,
10 DOE people, and, of course, we had Jim Davis'
11 presentation to kick us off. So we talked a lot about
12 the geochemistry and the hydrogeology of the site, and
13 today we will continue hearing from several other
14 people.

15 Our first presenter, though, is on the NRC
16 performance assessment and the risk perspective, which
17 is I think a somewhat broader overview of how these
18 things -- how this scientific information gets fed
19 into an assessment. And Tim McCartin is going to do
20 that presentation.

21 MR. McCARTIN: Center, you may want to
22 consider going on mute.

23 (Laughter.)

24 Yes. Today I'll be giving a perspective
25 on the performance assessment and risk from NRC's and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the Center's standpoint. I would like to point out a
2 couple of things before I begin. I would like to
3 acknowledge Sam Nalluswami, who helped me do some of
4 the computer simulations that I'll be talking about.

5 Before I begin, I would like to make two
6 introductory statements. One would be that, as I
7 alluded to yesterday, this is a -- in the last couple
8 of years the NRC has done a lot in terms of trying to
9 communicate our results and a very important aspect of
10 the performance assessment.

11 Yesterday Center staff presented some of
12 the technical aspects of the modeling. What we've
13 learned in the last two, three years, or so, and have
14 tried to improve is our capability to use performance
15 assessment as a tool to understand the processes and
16 important features related to Yucca Mountain, but also
17 communicate that to other people.

18 And I think that's an extremely important
19 part, that oftentimes I think prior to that we would
20 come in, and maybe we'd present dose curves, we'd
21 present a lot of information. And I'll attribute
22 George Hornberger a couple of years ago making a very
23 simple statement to us. I see all of that. I see the
24 numbers. What does it mean?

25 I don't think we had a good answer to that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 very simple justified question, and we've been trying
2 to present information in a way that not only for our
3 -- internally, for ourselves to assist our review, but
4 externally to other people to help get suggestions
5 back. And over the last couple of years in various
6 presentations, we've gotten a lot of helpful
7 suggestions, be it from ACNW, NWTRB, the National
8 Academy of Sciences, where we've presented some of
9 this information. And this is an evolution.

10 Some of you will notice some of these
11 slides are repeats. And I'm just giving a background
12 to show how we got there. There is additional
13 information that we haven't presented before that I
14 think will be useful to see this evolution. But I
15 would say -- and then that gets to NRC's independent
16 role.

17 And I think our independent role has at
18 least two primary factors to it. One was what you saw
19 yesterday -- development of models for the performance
20 assessment code, understanding the processes from a
21 very technical standpoint.

22 The other part today -- I won't really be
23 talking much, if any, about the models as much as
24 presenting the information. What are the models
25 telling us? And it's what I would prefer to look on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 using performance assessment as a tool, and that
2 really is why we have our independent role in
3 developing a performance assessment is to help us
4 probe and review DOE's performance assessment.

5 In regards to independence, I would hope
6 -- and I'm going to say this just because it -- no one
7 should get the impression that, well, gee, maybe all
8 DOE has to do is take NRC's model, because, oh, that's
9 what the NRC believes, run that, and if it shows
10 compliance they're done, because we're already saying,
11 "Oh, here is the way to do it."

12 Nothing could be further from the truth.
13 What we develop in the performance assessment is a way
14 to help us probe DOE's models. We aren't saying this
15 is the right way to do it. It is a way we've done to
16 help us probe DOE. DOE has to demonstrate the safety,
17 and we will use this tool to help us understand what
18 DOE is doing.

19 Clearly, we're putting in our performance
20 assessment code, scientific formulas, processes that
21 we believe are credible for Yucca Mountain. But
22 there's nothing in our performance assessment code, as
23 both Paul Bertetti and Jim Winterle pointed out, that
24 should denote regulatory acceptance. And all of that
25 work, be it the development of the models,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 understanding of results, as you'll see is a way for
2 us to get ready to do our independent evaluation of
3 the Department of Energy.

4 And with that, let me go to the first
5 slide. And as way of an outline, I will talk first
6 about -- give some idea of what we mean by risk-
7 informed approach, talk about the performance
8 assessment for the saturated zone, and then
9 understanding the saturated zone in the context of the
10 risk insights the way we -- one way to look at the
11 results.

12 There are many ways to look at the
13 results. Here is one way that we're -- for today we
14 think is useful for understanding and putting into
15 context some of the features, events, and processes
16 related to the saturated zone, especially with respect
17 to retardation.

18 Next slide.

19 In terms of the principles of a risk-
20 informed approach, clearly we first start with a
21 quantitative understanding of performance. Certainly
22 what can happen, how likely it is to occur, and what
23 are the consequences if it occurs? And that's related
24 to the requirements for post-closure safety. The
25 requirements for post-closure safety are multiple

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 barriers, the dose limits in groundwater protection.

2 With respect to the dose limits --
3 everyone, that is the quantitative measure we have.
4 And I would say early on the most disappointing part
5 in our -- of getting comments back on our proposed
6 rule for Yucca Mountain was an implication that we
7 would merely run a performance assessment. The dose
8 is either -- coming out is either below 15 millirem or
9 above. Below 15 millirem you get a license; above 15
10 millirem you don't. And that's it.

11 That is not our role. I would say -- and
12 I've said this before in a couple of different forums.
13 The performance assessment will produce a dose. Let's
14 say, whatever, it's two millirem. I have absolutely
15 no basis for knowing whether I should believe that
16 number or not. Two millirem. No one goes out in the
17 field and measures two millirem. It's a future dose
18 estimate.

19 I don't have a sense of why I should have
20 confidence in that number. I believe that gets to
21 multiple barriers.

22 And I know -- going back to yesterday, I
23 know Atef Elzeftawy brought up the issue that NRC had
24 walked away from certain requirements in Part 60.
25 There were subsystem requirements, a limit on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 groundwater travel time, a limit on the waste package
2 lifetime, and a limit on releases that were
3 quantitative limits. Those limits were there to
4 provide confidence that, indeed, that overall dose --
5 or at that time an integrated release number was met.

6 Over the years of trying to understand how
7 to implement those subsystem requirements the NRC
8 found they did not give confidence that the overall
9 performance objective was met. And, in fact,
10 culminating in the National Academy of Sciences report
11 on the Yucca Mountain standards, they advised against
12 the imposition of subsystem requirements.

13 Well, how do we get that confidence? It's
14 through the multiple barrier requirement. And the
15 regulation, while not giving a quantitative value,
16 requires the Department of Energy to identify the
17 barriers, discuss their capabilities, and present the
18 technical basis for those capabilities. And it's in
19 the context of the barriers that you're understanding
20 how these barriers contribute to safety.

21 And as I go through my talk, I think I'll
22 show how understanding how the various barriers the
23 Department of Energy is taking credit for gives us
24 that confidence and understanding that indeed that
25 dose limit is met. And that's very important, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that I can't stress enough.

2 We may not have a quantitative limit, but
3 I believe that the understanding of multiple barriers
4 and their contribution is how you replace that meeting
5 a quantitative limit with the -- providing you that
6 confidence that indeed the dose limits are met.

7 In that regard, there's a variety of
8 analyses to assist that understanding. The overall
9 performance value, that dose limit is certainly
10 calculated. As I said, it is calculated. You
11 certainly want to understand how that dose varies with
12 different assumptions, etcetera.

13 But ultimately I think the intermediate
14 results, things like how long is the waste package
15 estimated to survive, what is the transport -- the
16 delay time of certain radionuclides, understanding the
17 different pieces of the repository system that
18 ultimately provide that confidence in the overall
19 performance.

20 And I'll talk quite a bit about that, and
21 there are certainly sensitivity uncertainty analyses
22 to allow you to understand, point to what things
23 really matter. Where do I want to bore in in my
24 review?

25 Next slide?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The objectives of that risk-informed
2 approach where we use the overall performance, the
3 intermediate results, sensitivity uncertainty
4 analyses, we want to identify those parameters,
5 models, and assumptions that are most relevant to
6 meeting the performance objectives. We certainly want
7 to identify important uncertainties. Where is the
8 variation in performance most significant?

9 And we would focus our review in key
10 areas. We certainly want to look at risk dilution.
11 One, it's not -- as you saw Paul show with the -- some
12 of the Kd's, with the more recent approach, the
13 variation in Kd narrow.

14 There is a concern, of course, with -- one
15 might say for sake of conservatism, "I'll make my Kd
16 range very broad" and run the performance assessment
17 with a very broad range as a conservative approach.
18 That may be prone to risk dilution. You tend to
19 spread out the peaks. And in terms of what the
20 overall mean dose estimate is, you could be
21 arbitrarily making it lower by increasing that range.

22 And so there are issues that we would look
23 at in terms of the performance assessment to
24 understand how assumptions relate back to that final
25 dose estimate.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Certainly, there is a possibility for
2 inappropriate conservatism, where you say, "I'll be
3 very conservative in this particular part, this
4 particular subsystem." And, actually, the net effect
5 is that it improves performance, and so you're really
6 not being conservative.

7 And I'll give a -- and I'm not suggesting
8 anyone is doing this, but I'll give an example of --
9 let's say, "Well, let me make the infiltration 1,000
10 times higher." I get a meter of water per year going
11 into the repository. Okay. What that might do in
12 terms of the water chemistry on the waste package, you
13 are now flushing off any deleterious salt deposit or
14 everything. You have a very clean waste package.

15 So it lasts forever. Yes, it's
16 conservative with respect to the infiltration amount,
17 but it may inappropriately give you a result that
18 indeed you'll never have any significant salt
19 deposits. You have nice water -- washing off the
20 waste container. And I'm not suggesting anyone is
21 doing that, but the performance assessment has a lot
22 of attributes. There's a lot of submodels.

23 And part of the NRC review is
24 understanding how these models interact with one
25 another and making sure there aren't assumptions made

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in one part that lead to non-conservative results.

2 Next slide.

3 With that, that was a little bit on the --
4 sort of what risk-informed -- our approach will entail
5 in a very succinct way. With respect to the risk
6 insights, Keith Compton talked to these earlier in
7 terms of our current understanding that we've put
8 forward in our publication. We had retardation of the
9 alluvium as a high significance. This is with respect
10 to the saturated zone.

11 Matrix diffusion, colloidal transport, and
12 the length of the alluvium flow path were all of
13 medium significance. And I'll talk a little bit more
14 about that in the subsequent slides.

15 Next slide.

16 In terms of understanding saturated zone
17 performance, one of the things we've noted, that in
18 terms of getting risk insight it's extremely important
19 to look at the inventory involved, then look at the
20 identification of the barriers, but that also is in
21 relationship to the inventory. You don't want to lose
22 sight of that, and certainly consider the
23 uncertainties. And all of that you'll see in my
24 subsequent slides.

25 Next slide?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 In terms of the radionuclide inventory,
2 why is it so important? If I look at this slide, I
3 realize there is a lot of numbers. However, if I look
4 at the percent of the inventory for americium-241, you
5 can see it's 54 percent of the inventory. Now that's
6 at 1,000 years. It will vary over time, obviously,
7 because of decay.

8 Plutonium, 25 percent, 18 percent. You
9 can quickly see that a large fraction of the inventory
10 of the repository is tied up in a few radionuclides.

11 There are other radionuclides.
12 Technetium, .7 percent; iodine, .002 percent. If we
13 looked at performance assessments today, generally
14 it's iodine and technetium that cause the dose. These
15 are mobile radionuclides. They are generally
16 considered to be unretarded in geologic media.

17 But if you look at the percent of the
18 inventory, it is a very small fraction of the
19 inventory. If you look at the inventory weighted by
20 its dose conversion factor in that how much -- what's
21 the effectiveness in causing radiological harm, a
22 nuclide like technetium is even far less a percentage
23 in terms of radiological harm.

24 You're looking at for both iodine and
25 technetium less than a thousandth of one percent. So

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in terms of, yes, iodine and technetium, we do see
2 those radionuclides. It's not the bulk of the
3 inventory.

4 From an NRC review standpoint, we would be
5 looking at a very -- we would not be doing our job, in
6 my opinion, if we focused on iodine and technetium,
7 less than one-thousandth of one percent of the
8 radiological hazard that's there. Doing a good job
9 just on technetium and iodine doesn't really say much
10 about safety -- the safety of the repository.

11 There is what's happening here with these
12 radionuclides. It's an important part of the review.
13 You want to make sure, in general, these never get
14 out. Well, that's comforting. But I think in terms
15 of our review, when looking at the potential
16 radiological hazard, you sure want to know, well, why
17 are we assuming they're not getting out?

18 What are the processes affecting those?
19 Not so much we want to -- we see iodine and technetium
20 getting out. Why aren't they getting out? And that's
21 part of this risk-informed. You want to understand
22 the hazard. You would not want to just focus on
23 iodine and technetium.

24 Next slide. In that previous slide, I had
25 20 or so radionuclides that are commonly there. If

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you'll notice, one of the radionuclides -- and it
2 might have been the americium -- has a half-life of
3 430 years, a relatively short half-life. I was asked
4 if, indeed, that particular display of the percent of
5 the inventory was being skewed inappropriately by
6 short half-life radionuclides.

7 So I opted to do -- here's another slide
8 depicting the same amount of information, but I have
9 excluded from the inventory everything with a half-
10 life less than 10,000 years. So these are the
11 nuclides with half-lives greater than 10,000 years.
12 And as you can see, actually it's fairly dominated --
13 well, it is dominated by one plutonium. In fact, the
14 radiological hazard is 99.5 percent.

15 Technetium is a little more significant in
16 terms of the inventory. The radiological hazard is
17 still just two-thousandths of one percent. Neptunium
18 got a little higher. But in general, you're seeing a
19 similar kind of behavior that actually plutonium, even
20 for the radionuclides with half-lives greater than
21 10,000, which is still a very dominant aspect.

22 Next slide.

23 And why is that important? If we look at
24 -- and this is just a -- a somewhat typical plot. If
25 we looked at releases from a waste package, you can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 see that indeed the americium, in terms of what gets
2 out of the waste package, is relatively large relative
3 to iodine/technetium. Neptunium is a little bit
4 larger, but you can see the plutonium/americium/
5 neptunium, in terms of what gets out, is significantly
6 larger than iodine and technetium, which is no
7 surprise given the relative amounts in the inventory.

8 Go to the next slide -- the question is:
9 what's released from the geologic setting? I used the
10 same scale just because it -- I didn't want to distort
11 things. But you can see the neptunium/americium/
12 plutonium -- you can't -- well, you can't see them.
13 But, trust me, they're all zeroes. They don't get
14 out.

15 They are getting out of the waste package.
16 They do not get out of the geosphere. Something is
17 going on between the repository and the geosphere in
18 the geologic setting that's resulting in that -- those
19 significant releases that you saw before not getting
20 out.

21 The iodine and technetium -- there is a
22 little rise there. They aren't delayed. Generally,
23 they -- the releases from the waste package, on the
24 order of, I'll say, a thousand years or so make it to
25 the geologic setting.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Next slide.

2 In terms of trying to capture this
3 behavior for that inventory, one of the goals in my
4 mind for performance assessment is try to present
5 information to our technical staff as well as other
6 review committees, committees in general, to give an
7 idea of that understanding.

8 And what I've done is created a table --
9 and this is just a prelude to that table -- and you'll
10 see a bunch of L's and a bunch of D's on the table.
11 And for things that limit release, I calculated the
12 releases from a waste package. And if indeed -- if
13 the release from a waste package, if that release was
14 instantly transported to the accessible environment,
15 if it would result in a dose that was 10,000 times
16 less than the standard, then I gave it three L's;
17 1,000 times, two L's; 100 times, one L -- to look at
18 its effectiveness.

19 Why 10,000 times, you ask? Well, there's
20 approximately 10,000 waste packages. So what this
21 would say, where you see three L's, that means every
22 package in the repository leaking at that rate, those
23 releases could be instantly put to the compliance
24 location, and it still would be below the regulatory
25 limit. And so that's how I came up with 10,000 -- as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a way to display some information.

2 There are other things -- aspects,
3 barriers of the repository -- that delay releases.
4 And for there the delay release is a little simpler.
5 I looked at the time it took to transport to the
6 saturated zone. If it was greater than 10,000 years,
7 it got three D's; 1,000, two D's; 100, one D. And
8 10,000 years is the regulatory compliance limit. So
9 if it took greater than 10,000 years to get to the
10 accessible environment, that means no radionuclides
11 would get there within the 10,000-year time period.

12 And with that, I'll show the next table.
13 And what this is is a way to look at different
14 features of the repository system, have the waste
15 package, waste form, solubility limits, and solubility
16 limits plus limited water are all aspects of the
17 release rate, so you can see there the L designation
18 is used. For the waste package it's relatively
19 simple. It's just the delay time, the time to that
20 initial defect in the waste package.

21 And then, more relevant to today's
22 discussions is transport in the geosphere. And we
23 have transport in the fractures, in the fractured
24 rock, the delay that is evidenced there, and transport
25 in porous media, the alluvium. As you can see, there

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is a definite difference depending on the
2 radionuclide. And certainly not too surprising, the
3 americiums, plutoniums, are significantly delayed. A
4 nuclide like technetium that is generally unretarded
5 is not delayed much.

6 But I think in terms of what's going on,
7 and where do we want to look, once again, from an
8 inventory perspective the americiums and plutonium
9 that make up the majority of the inventory is really
10 an important aspect to see more than 10,000 years
11 delay for those nuclides is an important aspect.

12 I presented this table not that long ago.
13 I've used it in a number of places. I know I
14 presented it to ACNW. I also presented it to the
15 National Academy of Sciences, and this table is based
16 on mean values. And they made a suggestion that we
17 also were part of this evolution over the last two
18 years. You really would like to make this an
19 uncertainty table, that, okay, that's the mean value.
20 But what's the variation in that behavior? And we've
21 done that.

22 And, next slide?

23 In terms of the saturated zone
24 characteristics, there is a relatively flat gradient
25 between the repository and the compliance location.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 That's one of the reasons the transport time is
2 relatively slow, even in unretarded space. But once
3 you add some retardation -- on the order of 50, 100,
4 or more -- you get some significant delay in the
5 alluvium.

6 Certainly, there is the porous -- the
7 sorption properties in the matrix versus the fracture
8 where in the fracture there is matrix diffusion. And
9 I will talk a little bit about the difference -- why
10 we see what we do in our model with respect to matrix
11 diffusion, possibly a difference with the Department
12 of Energy.

13 Not to say one person is right or wrong,
14 we're aware of these differences, and it's part of
15 this understanding. We want to understand the
16 limitations and the different assumptions being made
17 in our model, etcetera, but it's all part of gaining
18 this understanding.

19 Next slide.

20 And so in looking at that variation, in
21 terms of getting to this uncertainty table, where I'll
22 look in more detail at the behavior of the saturated
23 zone, certainly in the alluvium the retardation
24 factors can vary orders of magnitude for certain
25 radionuclides. For certain radionuclides there is no

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 variation. Example: iodine and technetium are
2 assumed to be unretarded. There is no variation
3 there.

4 The length of the flow path is uncertain.
5 In fractured tuff, there is -- matrix diffusion
6 depends both on the sorption properties of the matrix
7 and the extent of fracturing. And I think I'll --
8 maybe this is as good a time as many, but there is a
9 little difference in how we got to the approach we
10 have in the TPA Code.

11 At one time, we had the -- well, we still
12 have the capability; we do not use it -- to do matrix
13 diffusion in the unsaturated zone and saturated zone.
14 We only invoke matrix diffusion in the saturated zone.

15 We have the exact same model for matrix
16 diffusion in the saturated and unsaturated zone. We
17 thought the parameters for that model would be very
18 similar, both -- fractured tuff in both cases. And so
19 in looking at that, when you're doing matrix diffusion
20 in the saturated zone, as I mentioned, a very flat
21 gradient. Travel times are relatively -- travel
22 velocity is relatively slow. The flow path is 10
23 kilometers or more.

24 This is an opportunity for matrix
25 diffusion, a slow process, to occur. And so that is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 -- it is not a very dominant effect, but it is a non-
2 trivial -- it does have some significance in that
3 context.

4 In the unsaturated zone, the flow path is
5 on the order of 300 meters, decidedly less than 10
6 kilometers. The gradient is one. The velocities are
7 rather high. And so the travel time from the
8 repository to the water table is relatively quick.
9 Trying to simulate a slow process like matrix
10 diffusion in a very rapidly-moving fracture is
11 incredibly time-consuming. It can break the bank,
12 basically, in CPU time.

13 We years ago did offline calculations.
14 And, once again, we're using the exact same model. If
15 that model is the same, we can simulate it. It takes
16 a hellaciously long time on a computer. We noted that
17 it did very little. There just wasn't enough time to
18 -- for matrix diffusion to occur that you would get a
19 significant amount of diffusion in that -- from that
20 fracture.

21 And so we don't have it in there, because
22 we have the same model. My understanding of the
23 Department of Energy -- they actually have two
24 different models for matrix diffusion in the saturated
25 zone versus the unsaturated zone. And so they have a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 different approach. And, obviously, that's something
2 we will -- we are looking at. We're not saying our
3 model is right or -- but that's why we merely use it
4 in the saturated zone.

5 Next slide.

6 If I go -- here is the uncertainty table
7 or variation table. If I expand that table that you
8 saw just for the geosphere transport -- this is just
9 looking at attributes of waste isolation in the
10 saturated zone -- and I now have the variation of the
11 alluvium distance. I'll set the alluvium distance to
12 its shortest value and to its highest value.

13 The alluvium retardation -- I'll set it to
14 its lowest and its highest. I'll combine, let me make
15 the alluvium distance and retardation both at its
16 lowest and highest. And then I turned off matrix
17 diffusion, and I'll explain why I did that in just a
18 minute.

19 But what you see -- and I realize there is
20 all of these D's everywhere, and it's not intended to
21 be an eye chart.

22 (Laughter.)

23 But what you're -- if you -- stepping
24 back, at the broad-scale view, what you're seeing is
25 for the americiums, the plutonium -- indeed, it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 doesn't matter. Our lowest -- our shortest distance
2 in the alluvium, which I believe -- and I had it down
3 on one version of my slides, and I -- I apologize, I
4 did not bring the right version. But I believe it's
5 two kilometers.

6 Also, the shortest values for -- the
7 smallest values for retardation, we've still got over
8 10,000 years of delay for all those radionuclides. I
9 think that's a very important aspect that, once again,
10 an expansion of -- you're trying to give information.
11 And I know, Dr. Ryan, you talked about, where do you
12 want to expend your resources? Gee, when I look at
13 this, I want to look at -- I can just look at the
14 lowest value.

15 Do I have confidence in that as a lower
16 bound for retardation? And it helps me. I mean, if
17 it has more, that's fine. I'm getting even more
18 performance. But it lets you know, am I worried about
19 the retardation if it varies between the range I have?
20 It's not so much the range. Is that low bound the
21 right low bound?

22 And I know Paul or Bertetti brought out
23 for some of these radionuclides even the low value is
24 fairly significant. But, indeed, it gives you a sense
25 of, how is that variation changing things?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 It also shows why, in terms of sensitivity
2 analyses, you always want it -- and this is the part
3 -- using performance assessment as a tool to help your
4 understanding. It does not drive your understanding.
5 I would never use a performance assessment result to
6 do my thinking for me. It's a way to help my
7 thinking.

8 And, gee, I might -- if I did a 10,000-
9 year dose assessment, I would never see the
10 retardation factors for americium or plutonium ever
11 show up as important. It is always zero. Also, the
12 length of the alluvium distance. And that's why you
13 use the tool to get -- to pull out the information,
14 and that's what we're -- this is information for our
15 staff.

16 I'd like to think it helps other people
17 get a better sense of, well, why is the repository
18 operating the way it is? Why should I have faith, or
19 confidence, not faith -- confidence that the dose
20 limit is what it is? I don't ever see americium and
21 plutonium getting out. Well, this tells you why.

22 Now, on the other spectrum, there is a few
23 other radionuclides. They don't change either.
24 Technetium, carbon, iodine, they are all single D's.
25 Well, not surprisingly. As I said, the retardation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 value is one for those. It doesn't vary. But it
2 clearly gives you an idea of why -- why do you see
3 iodine and technetium? Well, that's why.

4 Now, I'll say it also -- there is always
5 things -- when you do this, you never know what to
6 expect necessarily. And, I mean, there's a couple of
7 things I'll point out. If you look at the alluvium
8 distance, there is absolutely no variation. If it was
9 one D, it stayed one D; two D, stayed two D; three D,
10 stayed three D. As Jim Winterle pointed out, we
11 really don't see a lot of significant as long as you
12 have at least a couple kilometers.

13 If I look at neptunium, there's a few
14 nuclides there that -- it's always good to have
15 something that forces you to scratch your head and
16 think. That's the beauty of performance assessment is
17 produce information that forces you to think, why
18 should I believe this result? What's going on here?
19 And at first, you might say, "Something isn't going on
20 right."

21 Here is one D for alluvium retardation.
22 When I kept both low, the distance and the
23 retardation, I ended up with two D's. It got better
24 when I made both low.

25 And, you know, at first I said, "Oh, boy,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 something is not right here." But it's actually very
2 understandable, and we did another run. Well, let me
3 take out matrix diffusion in the volcanic rock. And,
4 indeed, when I did that, I got to the one D.

5 What's going on is that if you take away
6 an unretarded or a low retarded -- well, neptunium
7 actually is unretarded at its lowest value. So if I
8 remove the -- I'm not when I said "its lowest value,"
9 obviously, if I take out alluvium it isn't that it's
10 gone. I replace it with volcanic rock. I mean, it's
11 still a flow path from repository to the compliance
12 location.

13 If I remove an unretarding alluvium and
14 replace it with a matrix-diffusing volcanic rock, it
15 actually is better. And that -- and it made perfect
16 sense after I did that. The retardation in the
17 volcanic rock we did not vary. That was kept to a
18 relatively low number, but it was kept -- so actually
19 matrix -- some matrix -- matrix diffusion with some
20 retardation for neptunium is better than an unretarded
21 alluvium.

22 And so, once again, that's the benefit of
23 looking at this information. I think it's -- for me,
24 it's a very useful table to force your thinking. And
25 like I said, that is -- the risk-informed approach is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you want to think and understand what's going on. You
2 want to focus your review on where are things really
3 mattering. One might argue americium and plutonium.

4 Like I said, let's -- how sure are we
5 about the low value? What does come out, though?
6 Where does neptunium -- a key radionuclide, relatively
7 soluble, somewhat mobile, not a huge fraction of the
8 inventory but a non-trivial amount of the inventory --
9 and you can see that the variation in retardation is
10 one D to three D.

11 And so there are processes going on with
12 respect to the neptunium that I think what this chart
13 -- one of the things it's telling me is that neptunium
14 is an important thing to understand what's going on in
15 the geologic system with respect to retardation in the
16 saturated zone, be it either matrix diffusion or
17 retardation in the alluvium.

18 And with that, I mean, that's sort of the
19 -- I'd like to think this is part -- a key part -- of
20 the risk-informed process, trying to convey what you
21 understand and what you're going to review. It also
22 -- I mean, I think for some of these things you go
23 back and you say, "Okay. Well, what's the evidence
24 for the retardation factors for these radionuclides?"
25 And you can start piecing together the entire picture

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of, "Here's the technical basis. Here's why I have
2 confidence in the dose estimate." There is parts of
3 this that, if I can support the delay times here, I
4 have confidence in that final dose estimate.

5 Next slide.

6 In summary, that was it. I mean, and that
7 was the biggest part of my -- as we continue in this
8 process of developing information to assist our review
9 of the Department of Energy -- one thing I did mean to
10 say. That was done using our results. Obviously,
11 it's easier for us to take our code and develop that.

12 However, do not despair, DOE, we are doing
13 that with your results. And we are certainly in the
14 process -- as I mentioned, we are significantly
15 ramping up our review of the DOE TSPA, the GoldSim
16 results, and we believe we can cast some of their
17 results in a similar kind of thing, to give us some
18 feel for what's going on.

19 And are we going to compare it to ours?
20 I don't think so. I mean, it's -- but it's more you
21 create a table like that. Why do I believe the delay
22 times there? What's in their model? What retardation
23 factors? And it's a way of probing their analyses and
24 actually -- although this was the NRC results, we're
25 rapidly moving to doing actually more with the DOE

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 results rather than NRC's results.

2 It turns out the risk insights, in
3 summary, what we want to do is we want a comprehensive
4 understanding of the performance assessment, what's
5 going on and why. We want to identify important
6 models, parameters, and assumptions, consider the
7 uncertainty that -- how that variation might change
8 the result. And it provides for what we would call --
9 that is the informed -- when you say risk-informed,
10 it's an informed and focused review that we would do
11 on the Department of Energy's license application.

12 And with that, I'd be happy to answer any
13 questions.

14 MEMBER HORNBERGER: Thanks very much, Tim.

15 MR. McCARTIN: Yes.

16 MEMBER HORNBERGER: I think that what I'd
17 like to do is actually invert the order in which I
18 call on people to ask questions.

19 (Laughter.)

20 Give people a fair chance.

21 (Laughter.)

22 The last shall be first.

23 (Laughter.)

24 I'm not sure -- Don, are you there in Las
25 Vegas early in the morning?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. SHETTEL: Yes.

2 MEMBER HORNBERGER: Do you have questions?

3 DR. SHETTEL: I have one that I can think
4 of this early in the morning.

5 (Laughter.)

6 MR. McCARTIN: I am impressed anyone is
7 there.

8 DR. SHETTEL: Does the model include in-
9 growth of radionuclides, Tim?

10 MR. McCARTIN: Yes, it does.

11 DR. SHETTEL: Okay.

12 (Laughter.)

13 MEMBER HORNBERGER: Great. Since it's so
14 early, if you think of another question later, Don,
15 just let me know.

16 Dick?

17 DR. PARIZEK: I'm looking at Number 12,
18 and some are blanks. They neither have D's nor L's.
19 What does that mean?

20 MR. McCARTIN: It was below the bare
21 minimum --

22 DR. PARIZEK: For either.

23 MR. McCARTIN: -- of a single L or a
24 single D, right. So, for example, for delay time it
25 was less than 100 years, or for the release it was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 less -- it was more than 100 times the -- no, I mean,
2 more than 100 times less than the standard.

3 (Laughter.)

4 DR. PARIZEK: Page 15, is that like a one-
5 on and one-off analysis? As you were describing it,
6 it almost kind of came across that this is --

7 MR. McCARTIN: No.

8 DR. PARIZEK: No?

9 MR. McCARTIN: It's just looking at the
10 behavior of that particular aspect of the system. And
11 it -- you would have -- that delay time is there,
12 whether there is a radionuclide to be transported in
13 it or not. Now, I obviously released some
14 radionuclides into there, to get that delay time, but
15 it's -- this is more what we call the capabilities of
16 the barrier, and you don't -- the saturated zone has
17 this capability, regardless of whether there's a leaky
18 container. And --

19 DR. PARIZEK: You took out the alluvium's
20 role, and then you got the benefit from the -- in the
21 case of the tuffs. So it sounded like you were almost
22 making trades there that --

23 MR. McCARTIN: Right. Now, that was in
24 terms of the variation of what the alluvium can
25 provide. In our code we have -- the length of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 alluvium flow path is a variable. And all I did was
2 set it at the lowest value in our code versus the
3 highest value. And so the alluvium I'll say varies
4 between -- and this is a guess, it's approximately
5 right -- between two and 10 kilometers in length.

6 And so it's not so much a neutralization
7 in that it -- well, what if it was actually at its
8 lowest value? What if it was at its highest value?
9 And that's all I was doing with those was just
10 spanning the -- rather than we typically, when you see
11 our mean dose curve, it's sampled over all of that.
12 This is just setting it to, how significant is that
13 low value? And --

14 DR. PARIZEK: When you were describing the
15 significance of each of these points, that's part of
16 the narration of what the TSPA result means, or how it
17 came about.

18 MR. McCARTIN: Yes.

19 DR. PARIZEK: It's not independent lines
20 of evidence that you might be offering to add another
21 reason for feeling good about the results, right?

22 MR. McCARTIN: Right.

23 DR. PARIZEK: This is -- you're just
24 describing them, and that requires transparency and,
25 you know, clarity in terms of --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. McCARTIN: Absolutely, yes.

2 DR. PARIZEK: -- data and analyses, all
3 the rest of --

4 MR. McCARTIN: Yes. Yes. Absolutely,
5 yes. Independent lines of evidence would be --

6 DR. PARIZEK: Something over and beyond.

7 MR. McCARTIN: If we carried this further
8 -- I mean, the logical, in my mind the thinking
9 process that you would like to go to is here is -- I
10 have this depiction of the results. And we'll just
11 use that saturated zone table. Okay, here is what's
12 going on in the saturated zone. Now, next comes,
13 well, why should I believe that range of Kd for
14 neptunium?

15 What evidence do you have for it? And you
16 would have some experimental evidence. You might have
17 some additional information on, say, flow paths or
18 retardation. The best example I can give is you might
19 -- after you have that technical basis for those
20 parameters, you might have some natural tracers as was
21 alluded to yesterday in the geosphere that you can use
22 to, geez, it's -- your unretarded travel time is, say,
23 around 500 years or something.

24 What are geochemical tracers? And maybe
25 you have some that are -- tend to have some sorption.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 That would be what I would consider another line of
2 evidence beyond, say, experimental information on
3 heads and Kd measurements, etcetera.

4 MEMBER HORNBERGER: Okay. Jim Davis?

5 DR. DAVIS: I want to see if I understand
6 Slide 15. Also, I -- in the same line of questioning,
7 you have your results. And, as I understand it,
8 you're looking at the -- this is sort of a non-
9 quantitative sensitivity analysis, the expression of
10 those results, where -- and you might use it to
11 prioritize where your most important parts are to
12 focus on.

13 But in that analysis, you seem to take it
14 for -- in some ways, it seems to me you're taking for
15 granted that you have your arms around the whole --
16 everything that needs to be known. And to me, in
17 listening yesterday and today, there are still some
18 things that are maybe not as well known as they should
19 be. And I don't see that showing up now in these D's.

20 DR. PARIZEK: Right. Yes, that was my
21 conceptual error. Are there areas of concept here
22 that would blow this apart in some detail, or do you
23 know it all? And as a result, I would say like
24 alluvium, one kilometer versus two, DOE had I think as
25 little as one yesterday, you have two. What if it's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 none? It's all straight south in the faults.

2 Well, okay, there may be something that's
3 alluvium-like down on the southern tip of Yucca
4 Mountain, but what if it's all faulted flow? And if
5 it is, this is a conceptual error. It might have a
6 big consequence. And so these are the -- this is the
7 conceptual error thing that was -- a question I would
8 pose. And you're sort of asking the same thing. What
9 don't we know?

10 DR. DAVIS: Well, you know, I was thinking
11 about the mean value for the neptunium retardation in
12 the alluvium. Is that really the mean? It's the mean
13 based on what has been measured so far. So have all
14 of the appropriate -- have the right measurements been
15 made? And --

16 MR. McCARTIN: Probably. Yes, very valid
17 points. And that's why I'll say what this -- what
18 risk-informed, at least in this context, is trying to
19 display -- what you put -- you've put some concepts
20 into your performance assessment -- be it models,
21 parameters, assumptions. Where do they show up in
22 terms of relevance of estimating the performance
23 measure and delay time?

24 You're right, there is -- and I'll say an
25 inherent assumption that we have our hands around the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 problem. But, first, you want to -- in my mind, you
2 want to start with, well, let me understand how these
3 assumptions have affected my result.

4 Now that I understand how they're
5 affecting the result, I mean, really, to me that's --
6 this is the starting point for the NRC review. It is
7 not the NRC review, by any means. Now where I'll say
8 I'm more of a performance assessment person, here is
9 where the discipline people come in. And we work as
10 a team in terms of, what's the science behind the
11 retardation factor, the length of the alluvium?
12 What's the technical basis?

13 And this is -- just gets us starting.
14 What do we really want to hone in on? And we don't
15 want to -- there are many, many different aspects to
16 Yucca Mountain. Trying to go at all of them, without
17 some kind of prioritization of what does it mean, and
18 that's what this is about. Here is what -- you have
19 put all of these assumptions into the code. Here is
20 what it resulted in.

21 And now I can go in and start attacking
22 the technical basis. Gee, would this make a
23 difference? And, you know, an example I give with
24 alluvium -- or the americium and the plutonium. It
25 looked like, well, gee you know, gee, at the lowest

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 value of Kd, they really have a lot of delay time.

2 Well, maybe I'm not that interested in the
3 distribution or the upper bound, but what's the basis
4 for that low value? Indeed, it can't be lower. And
5 so there's ways of thinking about the problem. Rather
6 than having to look at everything, there is ways to
7 focus your thinking. And that's all this is.

8 And you're right. I mean, why should I
9 believe the performance assessment? Clearly, not
10 because I can display it. And, gee, see, I understand
11 the performance assessment. And I didn't mean to
12 imply that, okay, now I believe it, because I
13 understand it. No. There is all of this technical
14 basis review that has to be built up. That's where
15 the multiple lines of evidence, for the things that
16 are more important, you would like to see multiple
17 lines of evidence. Why do I believe that part?

18 For some of the other things maybe it's
19 not as critical, but that technical basis really,
20 combined with an understanding of how it affects the
21 performance assessment result, is what ultimately
22 gives you the confidence in saying we understand the
23 DOE analysis to be X.

24 And, yes, I mean, it's -- you're
25 absolutely right. I mean, there is -- this is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 presented in a way that I believe it. And I -- I'll
2 say I believe my understanding, but that isn't -- that
3 doesn't say that all of the models backing it up are
4 necessarily believable. That's part of a very
5 detailed review, and that's the three to four years
6 that NRC is going to take to understand the technical
7 basis behind those models. That may include the
8 result in changes to models and parameters.

9 MEMBER HORNBERGER: Jim Clarke?

10 DR. CLARKE: Tim, excellent presentation.

11 MR. McCARTIN: Thanks.

12 DR. CLARKE: And, by the way, you answered
13 my questions from yesterday on matrix diffusion. So
14 thanks for doing that -- in the vadose zone.

15 Just one question. Are you applying this
16 thinking to other subsystem elements? For example,
17 waste package corrosion, waste package lifetime --
18 using this as a tool for other --

19 MR. McCARTIN: That's a goal to lay out,
20 and we're turning the crank in terms of working as
21 hard as we can in preparation of getting a DOE license
22 application to provide -- and you can see, at least I
23 think for a lot of us, this provides us additional
24 understanding. And that's what you want to start into
25 the license review is, how are we going to depict the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 different aspects of the -- how are we going to
2 understand what matters?

3 DOE is required to tell us. I mean, in
4 fact, if you look at our Yucca Mountain review plan,
5 one might ask -- I mean, the first thing we have in
6 our review plan for post-closure is -- tell us what
7 the barriers are, and tell us what their capabilities
8 are. Clearly, DOE does that at the end. I mean, you
9 can't really do that until you're done with
10 everything.

11 We're asking for it first, because we want
12 to have that understanding. It will be a way to --
13 now the question is how best to depict that
14 information. The Department is certainly -- has the
15 flexibility to provide us that information however
16 they can.

17 Part of what we're doing is looking at
18 ways that -- and that's why we're looking at the
19 GoldSim model now. How we can go into GoldSim and
20 extract stuff that may be -- oh, gee, we'd like to
21 look at it this way, and maybe DOE didn't give it to
22 us. And so there's this process of how best to
23 present this information to assist our review, and --

24 DR. CLARKE: You know, it just struck me
25 this would be a great way to look at the engineered

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 barrier piece as well.

2 MR. McCARTIN: Yes. Yes. And to date, if
3 I go back 20 years ago, when my beard was red as Mike
4 pointed out --

5 (Laughter.)

6 -- I started out doing, well, groundwater
7 modeling and transport modeling in a variety of
8 applications. And so it was easier to -- for me to
9 think through the saturated zone and the geosphere.
10 Certainly, the -- we're looking to expand it into the
11 other areas for the whole repository system.

12 DR. CLARKE: Thank you.

13 MEMBER HORNBERGER: Ines?

14 DR. TRIAY: I also think that this is an
15 excellent way to present data. And you really ought
16 to be commended for trying to present data in a manner
17 that is very understandable, you know, for many people
18 from different backgrounds to come in to look at the
19 whole system performance. So that was very well done.

20 On page 15 --

21 MR. McCARTIN: Thanks, on the part of the
22 NRC staff and the Center staff. And the review
23 committees that -- and people have given me a lot of
24 comments. Like I said, we've evolved over two years,
25 and it really -- there's a lot of people involved, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there's a lot of credit to go around.

2 DR. TRIAY: This is excellent. Let me ask
3 you a couple of questions. On page 15, you have
4 americium and plutonium, and, in many ways, you know,
5 some of our understanding of solubility and sorption,
6 actually when you put everything together it comes
7 through here, you know, which is the biggest
8 uncertainties in uranium and neptunium.

9 The anions like technetium, or technedate
10 or iodate -- well, clearly, they are going to migrate
11 likely as anions, or they're going to be limited by
12 solubility, if you can evoke some reducing conditions
13 in certain cases.

14 So, based on that, can I ask you, then,
15 from the NRC's perspective, the result of these
16 analyses that you will concentrate your sorption and
17 solubility efforts on uranium and neptunium?

18 MR. MCCARTIN: No. I don't think that's
19 a fair assumption, in that -- only because there is a
20 lot that goes into the considerations. And so, you
21 know, an example for uranium, it may be -- even at the
22 high end of solubility, it's pretty low. And so
23 there's not that big of an issue.

24 I would say, in general today, I think
25 neptunium is the one issue. Colloids for plutonium

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 certainly is a way that defeats solubility limits and
2 could defeat some of the retardation. So there is
3 aspects of colloids.

4 This is -- once again, it's evolving. It
5 should not be taken as the definitive thing. Here is
6 some information, but you have to put it into the
7 context of the whole performance. And what you are
8 saying, though, that I think is correct -- that
9 solubility limits is an important part of this also,
10 because you've got the -- the transport is one thing,
11 but what if the solubility limits were low enough that
12 you never really got any significant amount of that
13 particular nuclide.

14 That would be another capability, and I'll
15 say in terms of the big picture of the -- assessing
16 the safety of a Yucca Mountain repository, solubility
17 limits for certain radionuclides could be a very
18 important aspect of providing some measure of safety.

19 DR. TRIAY: So, then, I would like to ask
20 you another question. What is it that you think that
21 you don't know? If -- you know, to go back to the
22 question here. I must admit that I'm having a little
23 bit of trouble visualizing exactly what is it that
24 would make page 15 a totally different picture. I
25 mean, I can see that myself. I don't want to lead you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on an answer, but I would like your opinion.

2 MR. McCARTIN: Yes. Yes. Page 15,
3 totally different.

4 DR. TRIAY: Well, different enough to
5 matter, right? I mean --

6 MR. McCARTIN: Right. Well, certainly, as
7 Dr. Parizek brought up, if indeed there was no
8 alluvium, I think the table would change dramatically,
9 if there was no alluvium. That's certainly one
10 aspect.

11 If I brought in --

12 MEMBER HORNBERGER: It would change
13 dramatically for neptunium, not for very many other
14 things.

15 MR. McCARTIN: Well, I --

16 MEMBER HORNBERGER: Okay. Never mind.
17 Dramatically, okay.

18 MR. McCARTIN: Yes. For neptunium, yes.
19 I mean, I think americium and plutonium might show
20 some differences also. I mean, I haven't done a
21 zero --

22 MEMBER HORNBERGER: Okay.

23 MR. McCARTIN: -- but certainly there is
24 a -- one of the things to add in here is something
25 with respect to colloids. I don't think colloids

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 would change the overall tone much. They need to be
2 considered. But I think one has to look at, you know,
3 the generation, how much, what radionuclides, and the
4 ability to transport colloids a long distance.

5 And as Paul mentioned yesterday, you know,
6 we are certainly following the DOE work with respect
7 to colloids, and we are -- we are doing some modeling
8 ourselves with respect to that. But I don't believe
9 -- I mean, that's something that is certainly an
10 uncertainty that is not accounted for here. I do not
11 believe it would make a big difference, though.

12 Other than that, I guess if there was
13 something about the chemistry that would drastically
14 change the retardation values in the alluvium -- I am
15 not a geochemist. I would be more than happy -- I
16 know there is at least three of them over there, and
17 maybe Paul would be -- as a speaker from yesterday,
18 would be -- I don't -- my layman's understanding of
19 the geochemistry, I don't believe you would see a
20 radical change in the chemistry of the saturated zone.
21 But I -- I'd be happy to turn to Paul. I mean, that
22 is not my area of expertise.

23 MEMBER HORNBERGER: No, that's okay.
24 That's okay. I think Ines' question was more general
25 than that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. McCARTIN: Yes, okay. Okay.

2 MEMBER HORNBERGER: Allen?

3 DR. CROFF: Excellent presentation, but
4 Jim got there before me, so --

5 (Laughter.)

6 MEMBER HORNBERGER: Michael?

7 ACTING CHAIRMAN RYAN: Thanks, George.

8 Tim, I think a lot of good questions have
9 been asked already, so I won't repeat them. But one
10 thing that strikes me that I think is a power of this
11 tool, if for example we decided neptunium, which,
12 based on all of the discussion and questions is a key
13 radionuclide, there's no reason you couldn't set up a
14 table that said, "Variation in waste isolation and
15 saturated zone for neptunium," and then down this left
16 column look at all of the parameters that were of
17 interest or people were discussing as important and
18 create the same table.

19 MR. McCARTIN: Yes.

20 ACTING CHAIRMAN RYAN: So I guess my point
21 -- and I think I talked to you about this the last
22 time we talked about this general approach in tables,
23 is you can drill down systematically -- and I think
24 that's the important thing -- systematically to look
25 at it for a radionuclide or a water -- range of water

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 chemistries, or whatever the subject is, and then, you
2 know, systematically bring that analysis back up to
3 the overall risk-informed kind of question.

4 So I think part of it is not answering all
5 of the questions today, but it is now a systematic
6 tool, so that if I did it in a room, and you did it in
7 a room, we'd probably come up with something similar
8 if we, you know, used the tool in an appropriate way.

9 So to me that's the power of the tool, and
10 it's interesting that you've now, you know, kind of
11 taken to this next step from your, you know,
12 presentation at the Academy. It's great work.
13 Thanks.

14 MR. McCARTIN: Yes. And I'm glad you
15 brought that up, because, I mean, it really is an
16 approach that we're developing. The numbers, while
17 they're interesting, they're not DOE's numbers. And
18 those are the ones that matter.

19 And -- but it's more or less, when I did
20 this, do you get information that's useful? I think
21 yes. And so now it's a matter of looking at the DOE
22 performance -- and here are some ways we can help
23 communicate our understanding among ourselves and our
24 -- to aid the review. And that -- yes, exactly, it's
25 an approach.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER HORNBERGER: Ruth?

2 MEMBER WEINER: I'll bet you thought all
3 my questions would be answered.

4 (Laughter.)

5 And I almost though Ines was going to ask
6 them.

7 First of all, I want to add my thanks for
8 a really excellent presentation and for your making
9 the point very well that performance assessment is a
10 way to find what parameters the performance is really
11 sensitive, and which parameters don't matter. I think
12 that's the real strength of the method.

13 Now, why didn't you include plutonium-238?

14 MR. McCARTIN: We don't have it in our
15 groundwater --

16 MEMBER WEINER: It's part of the short
17 half-life, high-curie content, but there may not be
18 enough. I was just curious.

19 MR. McCARTIN: One thing -- when we do the
20 performance -- there's certain time that we know, gee,
21 you're not going to get out in X amount of years,
22 transport is X. And if it's a short enough half-life,
23 I mean, there's many radionuclides we've excluded.

24 MEMBER WEINER: Yes. It's 87 years, so
25 that may --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. McCARTIN: Eighty-seven is pretty
2 short. I mean, that --

3 MEMBER WEINER: Yes, that may have
4 excluded it. That was just -- just a question,
5 because it was the dominant part of the inventory --
6 of the curie inventory in WIPP. The dominant part was
7 238.

8 My other question is much more general.
9 In the work you've done so far, is it the chemistry of
10 the actinides themselves, or the sorption
11 characteristics of the matrix to which the performance
12 assessment is more sensitive, or can't you tell? Or
13 is it too soon to tell? Or does it make no
14 difference?

15 MR. McCARTIN: That one I will gladly
16 deflect to either Paul or one of the geochemists over
17 there. I am really not a geochemist, and I'm -- this
18 analysis is based on the retardation factors we have
19 in the TPA Code, but I don't know if I -- I'm not --
20 that's not my area. I --

21 MR. BERTETTI: Well, I can try. This is
22 Paul Bertetti from the Center. I mean, I guess based
23 on what I presented yesterday is that I would say that
24 Tim's analysis is dependent on the retardation factors
25 for alluvium. Obviously, included in those numbers

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are the uncertainties with which we've calculated
2 those values, you know, to begin with.

3 MEMBER WEINER: Yes, recognizing the two
4 are not -- not independent of each other.

5 My final question, which maybe Paul will
6 answer also, is, you said plutonium might become
7 important. Plutonium-4 is an intrinsic colloid. So
8 if you have conditions that lead to formation of --
9 significant formation of plutonium-4, is that
10 something that you can in the future then include in
11 your considerations?

12 MR. McCARTIN: Well, the next version of
13 the code will have an explicit colloid -- plutonium
14 colloid in it. So we will be able to evaluate it.
15 How -- and when I said it could become important, it
16 really depends on the extent of the concentration of
17 colloids and the ability to transport that
18 concentration large distances, and, you know, that
19 remains to be seen. I don't know if Paul wants to add
20 anything to that or --

21 MR. BERTETTI: Yes. This is Paul Bertetti
22 again. Yes, what I would say is that our intention
23 from generation of colloids and assumption of
24 plutonium colloids is that they would be associated
25 with plutonium-4, and kind of independent of other

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 things just as a conservative assumption for the first
2 implementation.

3 MEMBER WEINER: Thank you.

4 MEMBER HORNBERGER: Neil, I think you had
5 a question.

6 MR. COLEMAN: Tim, your discussion of
7 matrix diffusion brings a question to mind, especially
8 with regard to neptunium. We normally think of matrix
9 diffusion as a fractured rock phenomenon. But it must
10 also occur in the valley fill aquifer.

11 The alluvium consists of silt to boulder-
12 sized fragments that radionuclides can penetrate by
13 matrix diffusion. It means a much larger rock volume
14 would be available for sorption, especially by
15 neptunium.

16 Is this mechanism considered in NRC's TPA?

17 MR. McCARTIN: No. We don't consider a
18 diffusion coefficient in the alluvium. It's
19 considered porous flow.

20 MR. COLEMAN: That sounds like a big
21 conservatism.

22 MR. McCARTIN: I don't know if it's a big
23 conservatism. It is something we haven't explicitly
24 included. I'll ask Paul if he wants to add something
25 to that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BERTETTI: Yes. This is Paul Bertetti
2 again. I would just add to that that the -- from the
3 perspective of results from the ATC testing that the
4 Department of Energy conducted, their initial push-
5 pull tracer testing -- their results did not provide
6 any indication of that process. So they were unable
7 to verify or determine that that diffusion into
8 alluvium grains did occur during the test.

9 So although what you have mentioned as
10 conceptually reasonable, the sole test conducted so
11 far did not provide evidence to support that. So
12 that's one of the reasons DOE has made some of the
13 decisions they have made to model alluvium the way
14 that they do.

15 MR. COLEMAN: Well, of course, that test
16 didn't extend a whole lot further beyond the disturbed
17 part of the well, the disturbed area around the well.
18 Unfortunately, they never had the chance to do the
19 full-size field scale test.

20 MR. BERTETTI: Correct.

21 MEMBER HORNBERGER: Tim, we heard
22 yesterday from DOE about the experiments at Busted
23 Butte and in the alcoves, and DOE drew the conclusion
24 that, in fact, matrix diffusion in the vadose zone was
25 an important process. And this morning we heard from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you that your model indicated that it didn't make any
2 difference.

3 What should I conclude? Should I conclude
4 that your model is wrong? Or that DOE's experimental
5 results are wrong?

6 MR. McCARTIN: It's a good question.
7 Right now, I guess I'm not familiar enough with the
8 test results. But certainly, I'll say experiments
9 don't lie. They do need to be interpreted, and I
10 think we certainly will be looking at the test
11 results.

12 And, you know, I'm not going to say that
13 our approach in TPA was a correct one. I will say
14 what we saw when we modeled it, there was not enough
15 time for diffusion to occur. We felt that was
16 somewhat consistent with at one time -- and this goes
17 back a few years at least -- that the chemistry in the
18 fractures was different than the chemistry in the
19 matrix, suggesting that there wasn't at least rapid
20 equilibration of the chemistries between the two. And
21 so that matrix diffusion wasn't going on rapidly.

22 I haven't followed that particular
23 experiment. I don't know if anyone -- the NRC staff
24 or Center staff have any comment, but I think
25 certainly we need -- we will be looking at that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 information, and maybe we can get back to you at a
2 later time.

3 MEMBER HORNBERGER: Okay. Good. Thank
4 you.

5 We are going to take a 15-minute break
6 now. We will reassemble promptly in 15 minutes.

7 Thank you, Tim.

8 (Whereupon, the proceedings in the
9 foregoing matter went off the record at
10 10:15 a.m. and went back on the record at
11 10:33 a.m.)

12 MEMBER HORNBERGER: Okay, we're going to
13 reconvene and continue our Working Group session. For
14 the next roughly two hours we have several
15 presentations scheduled. And the 10.3 on your agenda,
16 there's one slight change, but the presentation will
17 go as scheduled.

18 But first, these are presentations by
19 representations from the State of Nevada and Nye
20 County and the Electric Power Research Institute,
21 EPRI.

22 First, we have a presentation scheduled
23 from Don Shettel who is with Geosciences Management
24 Institute and is, of course, one of our panel members
25 as well.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Are you ready, Don?

2 DR. SHETTEL: Can you hear me?

3 MEMBER HORNBERGER: Yes, just great.

4 DR. SHETTEL: Okay, I'm going to be
5 reviewing sorption data that we have available to us,
6 since the State of Nevada is not doing any sorption
7 work itself.

8 (Slide change.)

9 The second slide is an outline of my talk.
10 I'm going to talk a little bit about solubility, then
11 sorption in the unsaturated zone and then the
12 saturated zone. Then I'm going to talk about DOE
13 sorption assumptions and finish up with conclusions.

14 (Slide change.)

15 Slide 3, volubility of neptunium. I have
16 two Eh-pH diagrams here. They are essentially the
17 same except for the temperature. The one on the left
18 is 25 degrees. The one on the right is 95 degrees.
19 The one on the left is appropriate for the saturated
20 zone. And it shows under oxidizing conditions, the
21 neptunium is somewhat soluble. The beige or yellow
22 area there is a solid field. But it also shows -- we
23 have one ppm fluoride here both of these diagrams
24 which is a very conservative number for at least the
25 saturated zone. And under acid conditions you see

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that there are some fluoride complexes in neptunium.

2 If you look at the diagram on the right
3 which is the higher temperature one, more appropriate
4 to the in-drift environment, where we may have fairly
5 acidic conditions, depending on the evaporation of
6 pore water and seepage water. We have two fields
7 where fluoride can dominate. And remember, this is
8 still one, only one ppm fluoride so with any
9 concentration in the vadose zone at all, fluoride is
10 going to be a dominant complexer of neptunium.

11 And as I state in the caption, these
12 diagrams only have one part per million total of
13 phosphate. If we increase the phosphate a little bit,
14 10 or 100 parts per million, we start seeing the
15 fields where we have neptunium phosphate complexes and
16 unfortunately, I didn't show one of those. But
17 they're just under the surface there. Remember, the
18 fields you're seeing here are just the dominant
19 complexes and you still have all the other complexes
20 that are not dominant or lesser value in terms of
21 activities underneath these essentially the most
22 dominant fields.

23 (Slide change.)

24 Slide 4, looking at some of the DOE
25 neptunium solubility data. The one on the right shows

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a comparison of some of the PNL data. This solution
2 is spent fuel versus some of their model calculations.
3 A few years ago they dropped the solubility from the
4 upper line there which I believe is Np205 solid phase
5 down to the three lines. It also shows the pH
6 dependence. This drop in solubility from the upper
7 model down to the carbonate dominated model at lower
8 solubility is maybe realistic. It is certainly not
9 conservative.

10 The diagram on the right shows the
11 solubility of neptunium versus pH and partial pressure
12 of carbon dioxide and this model seems to indicate
13 that DOE's only concerned with the carbonate model and
14 has not really looked at any other complexes such as
15 fluoride or phosphate.

16 Go to the next slide.

17 (Slide change.)

18 Still in the unsaturated zone. We're
19 looking at the time versus the fraction release of
20 technetium which is a non-sorbing radionuclide. I see
21 we get -- it takes up to 100,000 years or so to get
22 most of the technetium out of the system to the water
23 table. The problem with this is chlorine-36, the bomb
24 pulse, is also non-sorbing radionuclide. It travels
25 from the surface, land surface to the ESF in about 50

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 years and that's only in the northern section of the
2 repository. In the southern section it may already
3 have been flushed past the repository level. So here
4 we have a discrepancy of two non-sorbing
5 radionuclides. One is taking on the order of 50 years
6 to traverse not to the water table, but to a
7 significant maybe halfway between the land surface and
8 the water table. The other non-sorbing radionuclide
9 technetium is taking orders of magnitude longer to
10 reach the water table for only -- for about the same
11 distance.

12 This is a major discrepancy and needs to
13 be explained by DOE. Why haven't they applied their
14 sorption models to chlorine-36 to see how real they
15 may be?

16 (Slide change.)

17 Going to the next slide, slide 6, shows
18 some of their experimental data for neptunium for a
19 couple of different rock types. The sorption data
20 versus experiment duration and we see a 2, 3, 4 order
21 of magnitude difference range in experimental results
22 here which really hasn't been explained.

23 Let's do the colloids. Sample
24 heterogeneity, insufficient sample size. I know
25 they've done some work on size fractions, but crushing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of grains generates new surfaces and you can't get
2 around that.

3 (Slide change.)

4 Next slide, second one for the saturated
5 zone shows a diagram, I believe, Bob Andrews showed
6 yesterday and which I discussed a little bit in my
7 questions yesterday.

8 This shows sorption K_d s for neptunium in
9 the alluvial wise from Nye County Drilling Program.
10 The point was only two of these wells, 19D and 2D are
11 in the flow path, the potential flow path from Yucca
12 Mountain. The rest are to the west and really don't
13 apply.

14 The other problem there's -- 19D --
15 especially there are at least I believe seven forest
16 zones of flow. Most of the flow goes through one or
17 two of these zones and I can't recall the particular
18 interval they sampled here as the most -- fastest
19 flowing zone or not. The other point is depending on
20 how they treated these samples, the finest grain
21 materials is usually going to be between the more
22 porous units, more porous and permeable units. And
23 this type of diagram doesn't any uncertainties in
24 their experiments or in their individual experimental
25 results, just a mean value. It's not clear how they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 will be using this data in their models.

2 (Slide change.)

3 Moving on to a major portion of my talk
4 involves 10 sorption assumptions that DOE made. The
5 first one here involves microbial activity and how
6 that affects their experiments. It's probably not a
7 major factor in their experiments, but they have not
8 confirmed that microbes have no effect in their
9 experiments.

10 (Slide change.)

11 The next slide is assumption 2. And this
12 involves the use of crushed tuff which I think is
13 applicable to solid tuff matrix in the field. They
14 also claim solid rock column experiments are
15 infeasible due to long times needed to elute
16 radionuclides, but that suggests they're trying to
17 force things through the matrix of the volcanic rock
18 and perhaps somebody didn't get the memo that fracture
19 flow is dominant transport mechanism, at least and
20 mostly in the vadose zone. So this assumption needs
21 to be confirmed as well.

22 Next assumption number 3, the J-13 water
23 and the deep carbonate water are bound to chemistry of
24 groundwaters. First of all, this certainly doesn't
25 apply to the vadose zone and if you look all the data

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that's been collected in water compositions in the
2 saturated zone, it doesn't even apply in the saturated
3 zone really. The sorption experiment, as Jim Davis
4 showed yesterday, is a function of water chemistry,
5 redox potential and all of that. So this assumption,
6 certainly needs to be confirmed. I believe most of
7 the experiments that were done on sorption were
8 uncontrolled in terms of gaseous phase. They
9 certainly had atmospheric CO₂, but other than that
10 redox conditions, were not controlled.

11 Next assumption involves transport
12 modeling. DOE has broken down the site rocks into
13 four classifications. These are rather simple. This
14 assumption also requires confirmation, especially
15 perhaps through the alluvial rock type because that
16 can be highly variable rock types and grain sizes and
17 everything you can imagine. And the iron oxide
18 stratum was meant to simulate the corrosion of the
19 waste canister, an engineered barrier, but it ignores
20 all the different metals that are present in the C-22
21 which we think if there's rapid corrosion in the --
22 early on in the regulatory compliance period, assuming
23 that stays at 10,000 years. If it gets longer, then
24 it's relatively much earlier than the compliance
25 period.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Next, assumption number 5. They assume
2 that measuring a single radionuclide is applicable
3 when more than one is present. It involves a
4 competitive effect between radionuclides and other
5 cations in the water, for all available sites on
6 mineral surfaces. This assumption certain requires
7 confirmation. It may not be as important in the
8 saturated zone or far-field as it is in the near-
9 field, but certainly it could be important in the
10 near-field in the vadose zone.

11 Next assumption involves nonlinear
12 isotherms and that sorption coefficients are not
13 constant value for different rock types, assumes
14 variability of sorption parameters is a function of
15 the concentration can be captured by just lowering the
16 K_d to some minimum value so where experiments are
17 above that value. But assumes that a single K_d per
18 rock type can explain sorption behavior under all
19 temperatures, solute compositions and pH-Eh
20 conditions. This -- I don't know how you could
21 confirm this because if anybody does geochemical
22 modeling knows that if you -- even if you look at the
23 diagrams I presented in the third slide for neptunium,
24 you know that neptunium has different behaviors under
25 different temperatures, different complexing ligand

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 concentrations and all that. So this is just kind of
2 silly.

3 (Slide change.)

4 Go to assumption number 7, slide 14.
5 Again, we assume or DOE assumes they should say that
6 lowering the K_d to some minimum value is sufficient to
7 take into account moving water and fractures, what
8 have you. This certainly is a dubious assumption in
9 the unsaturated zone because of the possibility for
10 rapid episodic flow. And if fracture flow is
11 dominating in the saturated zone, that needs to be
12 confirmed. We also have a problem with -- I'll get
13 into this a little bit more in a moment, but long time
14 steps in there, TSPA and modeling.

15 (Slide change.)

16 Next slide involves some experiments that
17 we have done in our office. Take a little side trip
18 here from the assumptions for a moment. We have made
19 some thin welded disks or welded tuff disks, I should
20 say. These are a few millimeters thick. We have
21 glued them to PVC pipe which I'll show in a moment,
22 put a little bit of head on this system and observed
23 how much time it takes for the fractures in these
24 little rock disks to saturate as well as the matrix.

25 We'll talk a little bit more about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 chlorine-36 in a moment.

2 (Slide change.)

3 Next slide, 16, these are some of the
4 cores that we made. One core actually I should say
5 that we made before we could make the rock disks, but
6 it shows and we cored this with water, but it shows --
7 look at the upper left hand one. It shows the wet
8 area in the middle there is a fracture. Of course,
9 all the excess surface water has drained off and dried
10 off, but the fractures appear to suck up the water
11 rather than the matrix as DOE would have you believe.
12 The lower right hand corner shows core that was taken
13 from the upper rock sample. And you can see very well
14 that the fractures are saturated with water and the
15 matrix is essentially dry.

16 The time and duration to make this core
17 was on the order of an hour or so, but it obviously
18 shows that fractures can take water and can flow in
19 fractures without saturating.

20 (Slide change.)

21 Next slide shows the disk experiments.
22 The far right picture shows a disk glued to PVC pipe,
23 but some of these disks have fractures in them. These
24 fractures can wet up in a matter of hours or less.
25 Matrix can take a lot longer to saturate and this one

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 implication from this is that -- well, the DOE time
2 step in their modeling and some of their -- are the
3 only ones that we could really pin down were on the
4 order of a hundred years and if water is flowing in
5 fractures in the order of hours or so, obviously the
6 DOE time step is too long for modeling.

7 (Slide change.)

8 Next slide, sorption assumption number 8
9 is a big one. It states that sorption experiments
10 conducted under saturated conditions are applicable to
11 the unsaturated zone. This is just not correct as far
12 as we can see for a number of reasons, one being that
13 it would have different water compositions in the
14 unsaturated zone versus the saturated zone and the
15 fact that the rock just -- there's a difference in the
16 saturation state between the two zones. So it's
17 difficult to see how this assumption could be
18 confirmed.

19 (Slide change.)

20 Number 9, next slide, number 19, assumes
21 that the characteristic water compositions of J-13 in
22 the p#1 decarbonate water and affluent sorption can be
23 adequately represented by simulated solutions in the
24 laboratory.

25 The solution that was simulated was the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 UE-25-p#1, a decarbonate. It was simulated as a
2 sodium carbonate solution or sodium bicarbonate
3 solution. I think we saw yesterday from Jim Davis
4 that if we're not using the full natural water
5 chemistry, you don't get the right sorption values.
6 And another point I made there was that the
7 groundwater should not be used for sorption
8 experiments in the vadose zone. And even if you look
9 at the groundwater chemistry that's been accumulated
10 so far, you see it actually is outside the bounds of
11 J-13 and p#1 waters.

12 Last assumption involves the assumption by
13 DOE that decrease in radionuclide concentrations in
14 their experiments is due entirely to sorption and not
15 to anything else such as precipitation of phases or
16 formation of colloids. This certainly needs to be
17 verified. Probably best by electron beam analysis
18 that looks at the complexes can be formed on the
19 surfaces of minerals and possibly -- they have done
20 some autoradiography experiments. It's not clear if
21 these clots of fission tracks that they find are
22 actual minerals or solid phases or just complexes that
23 are on the surfaces of the sample.

24 My conclusions. There are numerous
25 chemical complexes of neptunium and certainly other

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 radionuclides of interest which may not have been
2 considered by DOE in their models, especially in both
3 saturated and unsaturated, really. DOE needs to
4 reconcile nonsorbing radionuclide transport in the UC
5 between the chlorine-36 and technetium-99. This is
6 what we can see as a major issue here, why there is
7 such a discrepancy in travel time.

8 It's clear, we believe, that saturated
9 zone sorption is better understood than unsaturated
10 zone sorption, but there's still a lot of questions
11 and one of these involves location of volcanic
12 alluvium contact, uncertainties in sorption
13 experiments and especially for alluvium, the
14 proportion of drain sizes in the most porous and
15 permeable pathways.

16 Certainly, all of the sorption assumptions
17 that were made several years ago, still require
18 confirmation by the DOE.

19 Lastly, we have the problem of colloids.
20 There's data on the NTS test site that shows plutonium
21 colloids can travel some distance in a fairly short
22 time. This needs to be better incorporated,
23 considered in models. Thank you.

24 MEMBER HORNBERGER: Thanks very much, Don.
25 Don has clearly done a good job to point out a lot of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 interesting and important issues and as we proceed to
2 questions for Don, I just want to caution everyone
3 that Don is not the right person to ask for responses
4 in terms of what DOE has done. And also, if we get to
5 the point of asking representatives from DOE to try to
6 answer all of the questions that Don has posed, we may
7 be here for a long time indeed. So I would urge
8 people to try to concentrate their questions on
9 questions for Don.

10 Dick?

11 DR. PARIZEK: I'll pass for a moment.

12 MEMBER HORNBERGER: Jim Davis?

13 DR. DAVIS: Some of the assumptions that
14 you are questioning, for example, biological activity
15 redox conditions, solubilities. In some cases, they
16 would seem, that by making the interpretation or
17 assumption that DOE has made that in fact, they've
18 made a conservative assumption whereas if they follow
19 through with some of the questions, they, in fact,
20 show more retardation. Do you have a problem -- do
21 these things need to be confirmed, even if the result
22 of confirming them results in more retardation?

23 DR. SHETTEL: I don't believe that's the
24 situation. If you look at the experiments where they
25 assume just a decrease in concentration and that's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sorption, if in fact, that that is a formation of
2 colloids or another solid phase of the radionuclide,
3 that experiment will give you a false sorption value.

4 DR. DAVIS: I think there's some other
5 cases though, for example, with respect to redox. If
6 they're looking at the mobility of -- of the transport
7 of the most oxidized form, and that's the more mobile
8 form, and they're assuming that the reduction to say,
9 for example, in the case of uranium, they're not
10 worried about the formation of uranium-4. Well,
11 that's a conservative assumption and we need to worry
12 about whether uranium gets reduced to uranium-4 or
13 not.

14 DR. SHETTEL: Well, if we take a
15 hypothetical situation, if we consider a sample from
16 alluvium, there is a little bit of organic matter in
17 alluvium and say that the sample that they used for
18 their experiment contained a little bit of organic
19 matter in it. Most of the rock is going to be under
20 oxidizing conditions, that little grain of organic
21 matter may be reduced condition, so in effect, what
22 you're seeing is a mixed sorption coefficient. It may
23 be valid for that bulk rock sample, but does it really
24 tell you about the environment?

25 It's going to cause -- it could certainly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cause additional scatter in the results and make
2 interpretation of the data more difficult.

3 DR. DAVIS: So if I can understand what
4 you're saying, you're saying in their batch
5 experiments, if there had been some reduction, then
6 that would overestimate the K_d , is that what you're
7 saying?

8 DR. SHETTEL: Yes.

9 DR. DAVIS: Okay.

10 DR. SHETTEL: That's one interpretation.

11 MEMBER HORNBERGER: Jim Clarke.

12 DR. CLARKE: I'm kind of inclined to pass
13 as well for the concerns that you mentioned, but I
14 guess one question and I don't know if this is
15 something you can answer now or just would get into a
16 kind of discussion that George doesn't want to get
17 into for obvious reasons, but are there -- you have 10
18 assumptions that you are concerned about that you
19 challenge. Are there -- is there any priority here?
20 Are there certain ones that you think are particularly
21 important from the standpoint of impact on dose with
22 the compliance part?

23 DR. SHETTEL: Yes, I believe I could
24 prioritize all of them, but I don't think we have
25 enough time right now. I think the most important one

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is I believe number 7 where they assume that their
2 saturated zone experiments are applicable to the
3 unsaturated zones. That's probably -- no, excuse me,
4 that's not the one.

5 Number 8. It says saturated zone
6 experiments apply to the vadose zone. That is
7 blatantly incorrect because the water composition in
8 the vadose zone are different than the saturated zone,
9 plus you have the problem of the different saturation
10 states of the sample. And the fact that really, in
11 static batch experiments, you're dealing with matrix
12 diffusion and sorption in the matrix versus the main
13 transport mechanism in the vadose zone is fracture
14 flow. So there are major discrepancies between
15 unsaturated/saturated zone and the application of
16 results from one to the other.

17 DR. CLARKE: Thank you.

18 MEMBER HORNBERGER: Ines?

19 DR. TRIAY: Yes. In the bullet where you
20 said that the sorption data needed confirmation, what
21 did you have in mind?

22 DR. SHETTEL: That's not my job. This is
23 your data, most of it, I believe. DOE should be the
24 ones that confirm these assumptions.

25 MEMBER HORNBERGER: Allen?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. CROFF: I'll pass.

2 MEMBER HORNBERGER: Michael?

3 ACTING CHAIRMAN RYAN: Just a follow-up on
4 Jim's question on the ranking idea and in answering
5 Jim Clarke's question you talked about the fact that
6 the assumptions were incorrect from a technical point
7 of view based on the science, but is it also highest
8 ranked in your mind because it has the biggest impact
9 on dose, or have you all looked at that kind of
10 impact? Or are you judging each assumption
11 intrinsically?

12 DR. SHETTEL: We can only judge these in
13 a fairly qualitative manner because we're not involved
14 in doing any kind of TSPA or PA modeling, but
15 obviously, I think number one is probably the least
16 important. Number 8 is most important and I could
17 rank the other ones in between there if you're
18 interested.

19 ACTING CHAIRMAN RYAN: Having your
20 insights on it would be helpful, but I just wanted to
21 clarify it wasn't on an ultimate dose kind of
22 calculation basis, but more on the intrinsic science
23 of each assumption.

24 DR. SHETTEL: Oh no. I think number 8
25 could have a major impact on ultimate dose.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ACTING CHAIRMAN RYAN: Okay.

2 DR. SHETTEL: So it's not just minor tweaking of
3 the experiments or whatever. I think some of these
4 assumptions can have major impact on performance
5 assessment.

6 ACTING CHAIRMAN RYAN: Okay, thanks. I
7 appreciate it.

8 MEMBER HORNBERGER: Ruth?

9 MEMBER WEINER: Don, on your slide 4, at
10 the bottom you say "DOE's solubility models may be
11 realistic, but are not conservative."

12 What would you consider conservative and
13 what's wrong with realism?

14 DR. SHETTEL: There's nothing wrong with
15 realism. I think in a general sense, DOE is always
16 saying that they make conservative assumptions, but
17 I'm just pointing out a case here where they initially
18 made a conservative assumption and they jumped down to
19 something that may be more realistic, but still
20 probably needs to be confirmed because these are based
21 on spent fuel dissolution experiments. And I can't
22 remember looking at these papers recently, but there
23 may be some problems in the experiments in comparing
24 them from the laboratory experiments to the actual
25 Yucca Mountain environment.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER HORNBERGER: Don, again just to
2 make sure I understood your answer to Mike Ryan's
3 question, if -- I mean and perhaps Ines' question as
4 well. So when you say some of these things need
5 confirmation, if in fact, the Department of Energy did
6 an analysis to suggest that some of these assumptions
7 would not be important in a performance assessment,
8 would that then negate the need to do confirmatory
9 testing in terms of either laboratory or field
10 measurement?

11 DR. SHETTEL: I suppose that's a fair
12 approximation. But I also believe some of these
13 cannot be confirmed because of the conceptual problems
14 that are involved.

15 MEMBER HORNBERGER: Yes. I grant that
16 it's a hypothetical. I didn't mean to prejudge that
17 they could do so, but if they could do so, then your
18 answer would be that that would be fine.

19 Okay, well, thanks very much, Don. Oh
20 Neil?

21 MR. COLEMAN: I just wanted to make one
22 more realism comment. Several times in this meeting
23 the Benham nuclear test has been mentioned. Colloidal
24 transport plutonium has been reported over a distance
25 of about a kilometer, but that finding, I believe, has

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 very limited application to the study of natural
2 systems. This was a -- if memory serves, a 1.3
3 megaton blast below the water table, generating a
4 massive pressure wave and creating prompt injection
5 and local hydrothermal circulation for many months.
6 And we can only imagine the process of colloid
7 formation at the point of a nuclear detonation. This
8 is not a natural process. And I would propose colloid
9 studies done under natural flow conditions are much
10 more appropriate for understanding colloid transport
11 at Yucca Mountain or any other site. I just wanted to
12 make that comment.

13 MEMBER HORNBERGER: Thanks, Neil.

14 DR. SHETTEL: If I can respond to that,
15 briefly?

16 MEMBER HORNBERGER: Yes.

17 DR. SHETTEL: The fact that there was some
18 hydro thermal activity, that could be equated in some
19 sense to the repository near-field environment where
20 you have high temperatures. The pressure wave, I
21 believe it's been shown that the plutonium colloids
22 are beyond the shock wave effect, so it's not a result
23 of the explosion.

24 MEMBER HORNBERGER: Okay, thank you very
25 much.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. SHETTEL: In any event, it's an
2 analog, possible analog of Yucca Mountain.

3 MEMBER HORNBERGER: Thanks very much, Don.
4 We now have three presenters listed for Nye County and
5 according to my schedule Les Bradshaw is going to go
6 first.

7 MR. BRADSHAW: No.

8 MEMBER HORNBERGER: We have a no there.
9 Who is going to go first?

10 Tom Buqo.

11 MR. COLEMAN: Let me just mention while
12 they're setting up there that the EPRI talk, which is
13 the last one in the sequence, has been e-mailed to
14 both DOE and to San Antonio, so it is available there.

15 MEMBER HORNBERGER: Tom?

16 MR. BUQO: Thanks for the opportunity to
17 make this presentation. This is a presentation I gave
18 earlier this month at Devils Hole Workshop, so Dr.
19 Parisek and Mr. Duncan, if you bear with me while I go
20 through this material. You've already seen it.

21 (Slide change.)

22 The second slide is an overview of what
23 I'd like to go over. Nye County has been doing
24 groundwater level evaluations for some period of time
25 now. Over the course of the last year we have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 expanded our water level monitoring program,
2 especially in Pahrump Valley and Amargosa Desert.
3 We've done some numerical modeling looking at
4 groundwater mounds associated with paleo climates and
5 we've been zeroing in on groundwater conditions in the
6 Ash Meadows area, particularly with respect to the
7 depth of groundwater and water level trends.

8 Why do we bother? We're looking at
9 baselining what the current conditions are and looking
10 at the impacts of our development of groundwater in
11 both Amargosa Desert and in Pahrump Valley because
12 we're concerned that the FEPS process is not looking
13 at future groundwater withdrawals. And I'll be
14 discussing a little later, there's a lot of
15 competition for the available resources going on at
16 this point in time. There's battles over water
17 rights, right to go in and develop on a very large
18 scale. And we are concerned that there's not enough
19 effort put into evaluating the impacts of the
20 repository on future groundwater withdrawals and
21 perhaps most importantly vice versa. What are the
22 impacts of those future groundwater withdrawals going
23 to be on the performance of the repository?

24 (Slide change.)

25 The next slide is a map that was presented

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a year ago at Devils Hole. This map was prepared so
2 that we could validate a USGS regional potentiometric
3 map that was put out. We used the water level data.
4 This is a baseline for the winter of 1999 to 2000. We
5 compiled all the available data, our own water level
6 measurements with those from the U.S. Geological
7 Survey, the various DOE groups, both the test site
8 operations and the Yucca Mountain site. We
9 supplemented that in data gap areas with older data.
10 We used spring data in some areas because we had to.
11 There was no other available data. And then in the
12 departure from the USGS approach, we use control
13 points. One of the problems we had in validating the
14 USGS map was that they used an algorithm in a computer
15 program that could not be reproduced if you didn't
16 happen to own that proprietary package. So we used
17 control points so that others can go in and say here's
18 exactly how it was done at this point.

19 The next slide shows how -- in the
20 previous slide it showed the map area with the
21 potentiometric contours. The area shown in here is
22 the overall data set we used. It went way beyond what
23 is shown on the map itself. We did that because we
24 wanted to eliminate the edge effects associated with
25 the contouring.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Again, we had to use spring elevations in
2 some areas as they represent the only data that's
3 available, particularly in the Panamint Range and
4 portions of Spring Mountains. There's no groundwater
5 level data available.

6 Somebody asked last year if I didn't think
7 those springs were perched and since that -- in making
8 this map, if a spring had been identified as perched,
9 it was censored from the data set. However, in
10 subsequent work and looking at springs, many of these
11 may be perched. Some of them undoubtedly are semi-
12 perched and some of them are unperched and it would be
13 a massive undertaking to go in and try to figure out
14 which is which. Nonetheless, I think for general
15 potentiometric map development it's suitable to use
16 them.

17 (Slide change.)

18 I'd like to talk a little bit on the next
19 slide about what constitutes a data because a lot of
20 Nye County studies are focused on identifying what
21 data gaps are important to the county and how we go
22 about filling them in.

23 Well, everybody has their own definition
24 of what a data gap is. It's based upon their own
25 interest, the issues that they have, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 responsibilities as the data collection agency and
2 their concerns, their scientific interests. Of
3 course, gaps are defining the distribution and the
4 variability of the data. There's the regulatory
5 authority defines gaps in terms of what information do
6 they need for making better informed decisions.

7 There's environmental concerns. We run
8 into that a lot in Nye County and gaps in
9 understanding cause and effect. We spend a lot of
10 time defending ourselves over the existing water
11 withdrawals that are going on and the potential
12 impacts of those.

13 (Slide change.)

14 Or in some cases, your idea of a data gap
15 depends on who you work for. I work for Nye County.
16 So in the next slide, it points out that my interest,
17 issues, responsibilities and concerns focus on
18 southern Nye County, so please limit your questions
19 and issues to this little part of my world, thanks.

20 Next slide.

21 (Slide change.)

22 There are some rather large areas in
23 southern Nye County that are devoid of any groundwater
24 information. In other areas, such as Yucca Mountain
25 and the Ash Meadows area, we on the surface seem to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have rather large data sets. So how do we go about
2 filling in the gaps and where are these gaps?

3 (Slide change.)

4 The next slide shows that we really can't
5 collect data on a grid. It's an impossible task, so
6 therefore we have to prioritize where these gaps are.

7 (Slide change.)

8 The next slide shows Nye County's
9 principal areas of concern. Up at the upper right
10 hand portion of the map we show weights, disposal and
11 weapons testing. Those are concerns up there; Yucca
12 Mountain, of course, a Nevada test site. Through the
13 southwest, the green area is the environmental
14 concerns. What impacts will Nye County pumping in the
15 Amargosa Desert and particularly in the Amargosa Farms
16 area have on the environmental and sensitive areas at
17 Ash Meadows and on the springs to Death Valley.

18 In the lower right hand corner we have
19 water supply issues. Pahrump is a growing community.
20 It's about 35,000 people now. We project the full
21 build out of 150,000 people with a corresponding
22 demand of 80,000 acre feet a year. We have a water
23 supply problem at Pahrump and the county has
24 instituted a resource stewardship program recently to
25 address that water shortfall and to protect the future

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 resources in the county from development by others.

2 The little gap shown in between the black
3 and the blue is an area of real concern with respect
4 to resource competition. Last month, there were water
5 right filings, massive water right filings on behalf
6 of a private corporation and just a little bit to the
7 east by the Southern Nevada Water Authority that would
8 appropriate several tens of thousands of acre feet of
9 water from this area. Nye County has previous water
10 right applications in the same area and is quite
11 concerned about the competition for the resources.

12 I can't discuss all these things, so the
13 next slide shows two areas I want to concentrate on
14 today. One is the Pahrump gaps. In addition to basic
15 water level information, we also have significant gaps
16 in our understanding of recharge. We have almost no
17 water quality information. If you go to the NWIS, the
18 USGS database, they show two water quality analyses
19 for Pahrump. To address this need, the Southern Nye
20 County Conservation District has provided funding to
21 go in and do some comprehensive water chemistry
22 sampling in Pahrump for the first time.

23 We've got a lot of uncertainty with the
24 amount of underflow. It's the old geophysical joke,
25 what do you want it to be? We don't have enough

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 information to make valid estimates of how much
2 groundwater underflows through Pahrump Valley. We
3 have a gap in the cause and effect. Everybody blames
4 us for every effect, but we still do not see, based
5 upon the data that's available a true cause and effect
6 relationship.

7 At Pahrump, we also have a problem with
8 separation of the upper and lower aquifers. We see
9 somewhat deeper trends in the deeper part of the upper
10 system, but we don't have any deep system information
11 at all. In the Amargosa area outlined in green, we
12 also have some significant gaps with respect to the
13 amount of groundwater discharge that is going on, the
14 depth to water, the water level trends and again, the
15 cause and effect relationships.

16 (Slide change.)

17 The next slide shows in Pahrump Valley
18 from 1999 to 2003, the blue circles represent the
19 wells that Nye County was monitoring at that time.
20 Over the last year, 62 additional wells had been
21 added, so we now have pretty comprehensive coverage at
22 Pahrump. We added the Utilities, Inc. wells which is
23 the major water purveyor in Pahrump. We've added
24 deeper agricultural wells and we've gone in and added
25 wells in all of the data gap areas, particularly in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 areas with high domestic well and septic system
2 densities. We've got some 30 sections of land in
3 Pahrump that have over 200 individual septic systems
4 in them. So it is a concern for us to go out there
5 and characterize both the water level trends and the
6 chemistry.

7 To date, measurements have been taken in
8 170 wells in Pahrump Valley.

9 (Slide change.)

10 Next slide shows -- well, that's actually
11 too many. It's quite a burden Nye County to go out
12 and collect data on that kind of scale. We believe
13 that we now have an adequate distribution of existing
14 wells for monitoring the effects of water withdrawals
15 within the developed portion of the basin. I stress
16 within the developed portion because as you see from
17 the map we have a very high density data within that
18 developed area, but once you get outside that
19 developed area, the data is very sparse.

20 So we're looking at developing transects
21 to reduce this monitoring burden and I show it
22 conceptually here, these transects that work is going
23 on right now. Again, the data is very sparse beyond
24 this area. The water quality data is severely
25 limited. Recharge estimates need refinement. The

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 discharge estimates need refinement and the underflow
2 fluxes are poorly understood, but yet we sit down and
3 we do models and state with certainty or uncertainty
4 how the system is responding and we really don't have
5 some of this fundamental information.

6 The next slide is similar for the Amargosa
7 Valley area. Again, the blue dots are -- represent
8 water level areas where water level measurements are
9 taken by Nye County. There's a lot of other
10 monitoring that's going on out there. The U.S.
11 Geological Survey, Fish and Wildlife Service and Park
12 Service are also doing monitoring. Over the last year
13 we've increased our monitoring in the Amargosa Farms
14 Area and in between the Farms Area and Ash Meadows.

15 We've also done some work to go out and
16 look at where these springs actually are. We did a
17 compilation of all the springs that are on the 1 to
18 24,000 topographic coverage and our field guy that
19 does the water level measurement tries to get out to
20 a couple of springs every month to see if they're
21 still flowing and to further document those springs.
22 Hopefully, at some point in time we will be able to
23 consider doing some actual monitoring on those.

24 Again, once you get beyond these developed
25 areas, the data is very sparse. Our discharge

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 estimates need refinement and the perennial yield is
2 not well defined, but it is very important.

3 I'd like to concentrate on those discharge
4 estimates. There were a couple of studies done
5 recently. One was for all of eastern Nevada. I think
6 they looked at 17 bases in eastern and central Nevada
7 and then we had some USGS studies done in the Ash
8 Meadows area and other discharge locations in the
9 Death Valley Regional Flow System. They came up with
10 quite different results. Both of them relied on
11 imagery analysis and ground Et measurements. The
12 results in eastern Nevada found that Et was double the
13 reconnaissance report series values and hence,
14 recharge was also double. The results in Ash Meadows
15 in contrast, found that Et was only 18,000 to 21,000
16 acre feet per year which was only slightly higher than
17 previous estimates based on spring discharge. So I've
18 always been scratching my head saying what is the big
19 difference? And what I've been told is that well,
20 it's because the other ones were in the northern part
21 of the state and so they had more Et. Well, we have
22 a map on the right from the state map, state report on
23 potential evapotranspiration rates and it doesn't wash
24 with that because that shows that the southern part of
25 the state has much higher PEt rates and we would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 expect to see higher Et rates down here, rather than
2 lower. So one must question were the original
3 reconnaissance estimates more accurate in the south.

4 (Slide change.)

5 Well, we'll get into that a little bit
6 more on the next slide. Both methods relied upon
7 remote sensing approach and used satellite imagery to
8 define the extent of the areas of evapotranspiration.
9 I've got a background in that. I used to work down in
10 Waterways Experiment Station and I did a lot of work
11 with remote sensing down there, so I was able to
12 follow the work that these folks did and I'll
13 summarize that.

14 (Slide change.)

15 The next slide is for the recent estimates
16 of evapotranspiration in eastern Nevada, those 17
17 bases that I talked about. And what you see is the
18 worker here at Nichols went in and defined the areas
19 where he thought that evapotranspiration should be
20 occurring and classified everything within that area.
21 So all land within each Et area was classified and Et
22 was estimated on the basis of plant cover with
23 correlations to depth to groundwater and annual
24 groundwater Et as is shown on the next graph.

25 Next slide, please.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (Slide change.)

2 Now historically what we find in the
3 literature is that Et is greater than one foot per
4 year from areas with groundwater depths of 10 feet or
5 less. This is consistent with previous observations.
6 One question is how low can it go? If it's one foot
7 at a depth of 10 feet or less, what is it at a depth
8 of 15 feet or 20 feet?

9 Well, we've got the Amargosa Research
10 Station up near Beatty and they've been doing a lot of
11 work looking at profiling of chloride ions and also
12 various radioisotopes and they are suggesting now that
13 the groundwater has an upward flux from depths as much
14 as 100 meters. It's negligible. They say at that
15 depth, but nonetheless there is a positive upward
16 flux.

17 Now we don't know at 50 feet what that
18 flux is or at 25 feet, but it does suggest that there
19 could be an appreciable quantity of water being lost.

20 (Slide change.)

21 Well, let's go on to the USGS work in the
22 next slide. And this is the Ash meadows area and what
23 was interesting and I found out why the difference in
24 the values. When -- in this area, the USGS and I
25 think this best exemplified in the little figure down

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 at the lower left which is for Chicago Valley. The
2 dotted line represents the area of groundwater
3 discharge, yet when they did their classification,
4 they only classified about 25 to 30 percent of the
5 area within that discharge area. So all land within
6 each Et area was not classified. They used a similar
7 method of estimating Et on the basis of plant
8 assemblages and densities.

9 I took a different approach based on our
10 water level data and that's shown in the next slide.
11 I went in for this 560 square mile area and I took our
12 potentiometric surface. It agrees with the previous
13 map by the USGS and I subtracted that from the digital
14 elevation model of the USGS to come up with a depth to
15 water. Depth to water is a very hard thing to
16 contour, so you have to go about it in -- I found that
17 this was the best method. I've looked at just
18 contouring the depth data by itself and found that
19 that was a meaningless exercise because it didn't
20 account for the topography.

21 But what this shows is that based on a
22 2,000 baseline data added to that the data that the
23 USGS collected in their Et study of Ash Meadows, I
24 found an area of 58,000 acres where the depth to
25 groundwater would be 10 feet or less and another

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 45,000 acres where it would be 10 to 50 feet to
2 groundwater.

3 (Slide change.)

4 Going on to the next slide to show the
5 significance of that, there's 58,000 acres where the
6 groundwater is 10 feet or less in depth. Of that
7 area, the USGS only classified 12,500 acres, meaning
8 there's some 46,000 acres out there, according to this
9 estimate that were not classified.

10 I don't put a rate on that because I don't
11 know what the rate is for bare soil in this area. If
12 I were to apply the numbers Nichols used up in
13 northern Nevada which was .4 acre feet per year, that
14 would come out to 19,000 acre feet and it would
15 essentially double the discharge in Ash Meadows, just
16 like the numbers in northern Nevada.

17 (Slide change.)

18 In the lower right I say but wait and the
19 reason I say that in the next slide, even though the
20 Ash Meadows area has been extensively investigated and
21 there's long term records available for many of the
22 wells and springs, there is still not, in my opinion
23 enough data to accurately define the depth to
24 groundwater and as I show in the map on the right, the
25 area where I have showing depth to groundwater of less

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 than 10 feet, a lot of it is in data gaps. We really
2 don't know what the depth to groundwater is.

3 But our fundamental estimates of recharge
4 and perennial yield rely on this knowledge. When
5 we're using groundwater models and we're calibrating
6 to discharge, we should have a good idea of how much
7 discharge is going on.

8 We hope that the geophysicists can improve
9 our knowledge of this and we can use resistivity or
10 another method to go out there and see if we can't
11 better define what the depth to groundwater is.

12 (Slide change.)

13 The last slide, our plans for the future
14 with respect to groundwater evaluation, the evaluation
15 of the upper and deeper water level trends in Pahrump
16 Valley. Nye County has a cooperative proposal with
17 the USGS to do some deep drilling in Pahrump. We've
18 been hocking that to anybody that will listen for the
19 last three years, but we haven't found any takers yet.
20 We're hoping that will change.

21 We are in the process now of selecting the
22 transects for monitoring in Pahrump and in accordance
23 with our QA procedures for that. We have to inspect
24 each individual hydrograph for each well and throw out
25 wells that are in duplicate areas, maintaining deep

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and shallow in the same areas.

2 We're going to continue evaluation of the
3 effects of groundwater balance on water withdrawals.
4 It was interesting listening to the discussions
5 yesterday on the improved calibration of groundwater
6 flow model made by using a few selective
7 interpretations. Some of our preliminary findings are
8 that they also should be incorporating in paleoclimate
9 effects because they have pronounced impact on water
10 levels in the region today.

11 We're going to continue doing our water
12 level monitoring in Pahrump, Amargosa Desert and the
13 Stewart Valley, Chicago Valley and points beyond as
14 budget and personnel, time allows. We'll continue
15 doing the spring verification and as I mentioned, we'd
16 like to do some spring monitoring in the future. It's
17 nice to go out there and prove that the spring is
18 still there and that gives us some information that is
19 useful. But what we really need to know is is the
20 discharge of that spring going up, down or staying
21 constant.

22 That's it, folks.

23 MEMBER HORNBERGER: Thanks very much, Tom.
24 Very interesting presentation.

25 What I'm going to suggest is that the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 panel members all jot down their questions and let's
2 ask Nye County people as a group. We can get all of
3 the questions from Nye County at once.

4 So if we could proceed to the next Nye
5 County presenter.

6 DR. HAMMERMEISTER: I'll get started.

7 MEMBER HORNBERGER: Wait a second. You
8 must not have a microphone on. We're not hearing.

9 DR. HAMMERMEISTER: Try this one?

10 MEMBER HORNBERGER: That works.

11 DR. HAMMERMEISTER: Is that better?

12 MEMBER HORNBERGER: Yes, thank you.

13 MR. COLEMAN: Also, the camera on your end
14 is still pointed at Tom.

15 (Pause.)

16 DR. HAMMERMEISTER: Okay. Are we ready?

17 MEMBER HORNBERGER: Please proceed.

18 DR. HAMMERMEISTER: Okay, prior to the
19 study of geologic samples of Fortymile Wash alluvium
20 that had representative particle size distributions
21 had never been collected, at least in Nye County's
22 opinion. And this coring program Nye County believes
23 provides the first geologic examples that have
24 representative particle size distributions. It's the
25 first accurate picture of layering, textural laying in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the subsurface.

2 This has been funded by the Department of
3 Energy which we appreciate. However, the Department
4 of Energy has directed or in any way influenced the
5 actual study.

6 Next slide, please.

7 (Slide change.)

8 I'd like to quickly just emphasize some
9 key points as I give my talk. I'd like to go over
10 some of the field and laboratory methods, describe
11 significant results and talk a little bit about future
12 work.

13 At the end I'd like our senior geologist,
14 Jamie Walker to talk about a little different subject
15 and that is some growth faults in alluvium and in
16 underlying bedrock in the south of the repository that
17 may influence flow paths.

18 Next slide, please.

19 (Slide change.)

20 The points I do want to emphasize from
21 this talk is that we had cored nearly 300 feet of
22 continuous summit core from the upper portion of
23 alluvial aquifer. We've logged it and we've tested
24 some of the core. The core recovery was exceedingly
25 good samples are minimally disturbed. I should

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 emphasize that the porosity and density are disturbed
2 and we'll show examples of that. However, the
3 particle size distribution, we believe, are
4 representative.

5 Preliminary field and laboratory testing
6 results have begun to fill some important data gaps.

7 Next slide, please.

8 (Slide change.)

9 Our location of the study was along
10 Highway 95 at the alluvial testing complex showing the
11 slide encircled. It's south of the repository of
12 course, and it's north of the Nye County residents
13 that live in Amargosa Valley. It was located at that
14 location to potentially help interpret future cross-
15 hole tracer tests at the alluvium testing complex.

16 Next slide.

17 (Slide change.)

18 The coring method was used with the sonic
19 coring method of vibrations, the method of Brooks of
20 imparting a vibration into the drill strain which in
21 turn causes the sediments to start vibrating and
22 become slight fluid and if you put, apply positive,
23 downward pressure on the drill strain and you rotate
24 it, the sediments move up into the drill strain.
25 After the drill strain is full or the actual lower

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 part of the drill strain which we call the core barrel
2 is full of sediments, it's pulled to the ground
3 surface.

4 Next slide.

5 (Slide change.)

6 And it's removed at the ground surface.
7 It's actually extruded from the core barrel. We see
8 a portion of the core barrel here and the slide, and
9 it's simply vibrated out of the core barrel into a
10 plastic tube or a plastic sock.

11 Next slide.

12 (Slide change.)

13 The core is then -- I'm sorry, I jumped
14 ahead of myself.

15 We did not core the vadose zone, the
16 unsaturated zone. This was a demonstration project.
17 There was limited amounts of funds. We drilled that
18 rapidly and encased it off. The upper roughly 160
19 feet shown in green was cored with one size core
20 barrel roughly 6-inch diameter core barrel. And the
21 lower, approximately 100 feet, and showed in orange.
22 It was cored with a smaller diameter of 4.5 inch core
23 barrel.

24 Next slide, please.

25 (Slide change.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The core, once the core is brought to the
2 ground surface, it's moved into a core trailer at the
3 site and for geologically logging and subsampling.

4 Next slide, please.

5 (Slide change.)

6 The logging methods that we used were
7 basically ASTM visual manual logging methods and some
8 of the parameters that we actually measured, we
9 actually logged and described are shown in this
10 impossible to read slide. They include particle size,
11 estimates of gravel, sand, silt and clay, cementation,
12 plasticity and so on.

13 Next slide, please.

14 (Slide change.)

15 The particle size distributions in the
16 core remain more or less intact and so in many cases
17 we're actually able to see, visually see the layer in
18 the actual core.

19 Some recent examples here, the uppermost
20 slide shows a transition from cobbles and coarser
21 gravel to finer gravel, about two thirds the way
22 along, going from left to right. You can obviously
23 see a transition in the particle size. Another
24 transition of particle size, the middle core is
25 showing from a finer textured material to a less -- to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 one that contains less fines and finally the lower
2 slide shows an actual cobble that was drilled through,
3 actually cored through the cobble.

4 Notice that the material is fluffed up.
5 It's not -- density and porosity has been disturbed
6 and I want to emphasize again, we believe these are
7 representative particle size distributions. We have
8 not messed up and screwed up the particle size
9 distributions.

10 Next slide, please.

11 (Slide change.)

12 Some additional examples of disturbance,
13 we have to be honest here. The fines in the upper
14 core shown, the fines tend to migrate to the outside
15 of the core. This complicates subsampling we found.
16 And so -- and also it probably defines also probably
17 migrate to the walls of the bore hole, the actual bore
18 hole formation walls and it can cause some problems
19 with sampling and testing in the actual bore hole
20 itself.

21 Heat generating in the lower slide shows
22 an example of the effects of heat that it is -- heat
23 is generated during the coring process and causes
24 water to accumulate in the top of the core, shown in
25 the far left, a darker color and tends to dry out the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 core slightly and the lower region of the core shown
2 in the more oxidized colors in the lower, in the mid
3 section of the core.

4 Next slide, please.

5 (Slide change.)

6 A whole suite of geophysical logs were
7 conducted. However, these are probably the two most
8 important logs because as I mentioned, the density and
9 porosity of the core is disturbed. These are nuclear
10 logs that actually blast the radiation out in the
11 formation. They attempt to see into the formation and
12 the epithermal neutron and gamma-gamma density logs
13 shown here basically trend together which they should.
14 They're expected to and there's a fair amount of
15 character to these logs indicating, suggesting a bunch
16 of things. There's a bunch of casing in the holes
17 that sort of complicate the interpretation, but there
18 are some potential changes. The character of these
19 logs indicates some potential changes with depth in
20 the alluvium.

21 Next slide, please.

22 (Slide change.)

23 Once the logging was completed, it was
24 finished, the hole was complete with a dual piezometer
25 for groundwater chemistry monitoring and also

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 groundwater level monitoring, future groundwater level
2 monitoring.

3 Next slide, please.

4 (Slide change.)

5 A quick overview of some field
6 measurements. We weighed each core segment. We got
7 the wet mass of each core segment in a particular core
8 run. We used this to support calculations of the
9 overall density, dry bulk density of the core run and
10 we sort of backed into the dry bulk density of the
11 core run by subtracting off with laboratory
12 measurements of water content. We got the dry mass of
13 each of these core segments by subtracting off the
14 water content and we assumed a volume of measurements
15 equal to the -- defined by the outside diameter of the
16 core barrel and the length of the actual core run.

17 Next slide, please.

18 (Slide change.)

19 Probably some of the most important
20 laboratory tests. This is sort of a PR slide as much
21 as anything. Nye County now has its own laboratory
22 testing area. Probably one of the most interesting
23 and most important is particle size distribution. And
24 here we have wet sieve and hydrometer test. Wet sieve
25 addresses the coarser fractions and the hydrometer

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 tests looks at the finer fractions.

2 Next slide, please.

3 (Slide change.)

4 Since these samples were disturbed, we
5 really can't run a hydraulic conductivity test on
6 them. We have to reconstitute the samples. We did
7 select core intervals, 15 different core intervals
8 that were representative, that had representative
9 particle size distributions that covered the range of
10 particle size distributions encountered in the core
11 hole. We repacked these 15 samples into a 12-inch
12 long by 6-inch diameter flow tubes that we put into
13 flow cells. These were repacked in lifts and these
14 particular 15 samples were repacked dry in an attempt
15 to approach and I emphasize approach in situ dry bulk
16 densities.

17 Next slide.

18 (Slide change.)

19 This -- we did conduct constant-head
20 conductivity tests. On the left is showing the
21 repacked core, just shown in the previous slide with
22 the actual flow cell caps on them and the actual
23 constant-head conductivity tests being run.

24 We also conducted hydro conductivity tests
25 on 10 drive core samples, smaller core samples in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 brass liners. We collected, I believe, five, two and
2 a half foot drive core cores throughout the entire
3 core interval and the bore hole. We did this because
4 this is the only previous method that we had used to
5 obtain core. It's a very expensive and very time
6 consuming method, but we wanted some data to -- we had
7 some previous drive core data and we wanted some
8 additional drive core data from this particular hole.

9 Next slide, please.

10 (Slide change.)

11 Field hydroconductivity tests. There were
12 two types. On the left it shows a constant-head
13 injection test into the completed bore hole that again
14 has two screens, dual piezometer screens. This is a
15 U.S. Bureau of Reclamation method. Basically, just
16 pumped the water out and put it in a tank and then
17 ejected it back in and I believe on constant head.

18 On the right it's showing a larger scaled
19 pump test conducted in individual isolated screens in
20 a nearby well, located 50 to 60 feet away. Each of
21 the screens were pumped for 48 hours and this is an
22 actual pump test and we were able to get a large scale
23 hydro conductivity value.

24 Next slide, please.

25 (Slide change.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I'd like to turn quickly to the results,
2 geologic results, logging results suggests that
3 there's little evidence of buried soils. This has
4 been an issue brought up that various soils might tend
5 to limit flow. The data doesn't suggest this.
6 There's little cementation. Little or no cementation.
7 In addition, log results show that the colors indicate
8 primarily oxidizing conditions and finally the coarse
9 fractions are volcanic and they've been weathered,
10 some angular, some rounded and clearly it's alluvial
11 material. Next slide, please.

12 This slide, next slide shows just the
13 cementation data from our geologic logging and note
14 that there's little to no cementation. These are the
15 depth profiles, again on cementation. And HCL
16 reaction is shown on the right and there's very few
17 carbonate layers in the system.

18 Next slide, please.

19 (Slide change.)

20 I include this slide because it's kind of
21 pretty. It's the gravel fraction showing and indeed
22 these are slightly rounded alluvial material.

23 Next slide, please.

24 (Slide change.)

25 We determine density by a bunch of field

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 methods and laboratory methods. I've already sort of
2 very quickly mentioned one, one of our calculation
3 methods and also mentioned geophysical logging. In
4 general, they were fairly consistent. The actual
5 calculated porosities that we were able to calculate
6 were generally in the upper range of values used by
7 the U.S. Department of Energy. That is, roughly 25 to
8 31 percent porosity. This corresponds to bulk
9 densities of -- ranging from roughly 1.7 to 2.1 grams
10 per cubic centimeter or 2.0 grams per cubic
11 centimeter.

12 Next slide, please.

13 (Slide change.)

14 This slide, the next slide does show the
15 depth profile of these different density measurements.
16 The blue squares have a tremendous amount of data.
17 It's actual gamma-gamma density logging data. We
18 believe that it over-estimates hydraulic conductivity
19 slightly. The red Xs shown there that are difficult
20 to see are actually the calculated values that we
21 calculated the densities for each core run. We
22 believe that they slightly under estimate densities.

23 Next slide, please.

24 (Slide change.)

25 Probably one of the most interesting and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 probably one of the most useful results of the
2 particle size distribution data that we collected, the
3 laboratory particle size distribution data was the
4 comparison of sonic depth profiles of particle size
5 distributions from sonic core with profiles in
6 adjacent hole of drill cuttings that have collected
7 using air rotary versus circulation methods.

8 It's assumed here in this comparison that
9 the sonic core does not disturb, the coring process
10 does not disturb the particle size distribution. So
11 it's sort of a standard by which to compare samples
12 that have been collected by other methods.

13 The bottom line is that this comparison
14 shows that the drill cuttings are highly disturbed.
15 Basically, they're ground up. The larger gravels are
16 ground into sand and ground into finer material and in
17 addition to that, some of the natural finer material
18 is washed away during the actual drilling process.

19 (Slide change.)

20 The next slide shows a result, a
21 comparison of the plots. It's a pretty complicated,
22 messy thing, but the blue in the background are drill
23 cuttings data from again from a hole that's about 60
24 or 70 feet away from the sonic core hole. The pink
25 and the red are sonic core hole data. The area to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 left of the curves, the white are to the left of the
2 curves corresponds to fines, the percentage of fines,
3 the area between the two, for example, the two blue
4 curves corresponds to the amount of sand and the area
5 to the right of the blue curve and the red curve
6 corresponds to the amount of gravel.

7 This clearly shows that the amount of
8 gravel has been reduced in the drill cuttings and
9 increased amount of fines and also a very large
10 increase in the amount of sand. And I think this is
11 obviously a fairly significant finding. Folks that
12 have used drill cuttings for adsorption tests should
13 at least take this into account.

14 Next slide, please.

15 (Slide change.)

16 We've also used particle size distribution
17 data to delineate layers, textural layers, unified in
18 USCS stands for Unified Silt Classification System,
19 textural layers in the actual core.

20 This classification system that we apply
21 to our core showed that they're mostly gravels and
22 sands with fines in the upper 100 feet of the core
23 hole and that's the upper hundred feet of the
24 saturated zone. The fines classified primarily as
25 clays, however, some preliminary -- we hadn't finished

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 our Atterberg Limit tests yet and the preliminary
2 Atterberg Limit data suggests that these are actually,
3 if we use Atterberg Limit data that the fines actually
4 are primarily silts.

5 Again, this classification I'm going to
6 show you here and on the next slide are based purely
7 on particle size and category limit data is not
8 included.

9 Poorly graded layers predominate and in
10 the lower 100 feet of the hole, they're primarily
11 clay, sands are found.

12 (Slide change.)

13 The next slide shows the graphic of the
14 Unified Silt Classification System layers and we've
15 used these to -- we've basically just built our
16 lithostratic or lithographic logs. On the left we use
17 all 13 of the Unified Silt Classification System
18 groups that were encountered in the core hole. And
19 notice that it's a highly layered system if we show
20 all those layers.

21 The blue layers correspond to the coarser
22 texture. Dark blue is the coarsest textured layers
23 which are, of course, the most permeable. We're
24 talking about gravels and sands. The reds and oranges
25 correspond to the finer textured layers that contain

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 more silt and more clay and these, of course, are less
2 permeable.

3 So you can see on the left diagram that
4 you transition from the upper portion of the core
5 where it's more coarse grained and you get down in the
6 lower portion of the core hole, it's finer grained.
7 The middle diagram is a simplification of the left
8 hand diagram. In this case, USCS groups with similar
9 particle size distributions were grouped together and
10 we have five groups there that are shown and their
11 textural range is also the percent fines and these
12 five groups are shown in the legend which is
13 impossible to see from where I am.

14 And in the far right hand side we've
15 grouped similar USCS groups into two larger groups.
16 And we've simplified the diagram even further.
17 Because particle size distribution or texture is
18 related to permeability, these lithostratic graphic
19 logs are perhaps a first step towards identifying
20 hydrostatic graphic units. Clearly, more work has to
21 be done in that area.

22 Next slide, please.

23 (Slide change.)

24 This slide I'll actually skip over, really
25 quickly. This shows the difficulty of sub-sampling

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 core that doesn't have a large volume and we have
2 large cobbles in a large coarse fraction. It's very
3 difficult to sub-sample and to split and to get
4 representative samples in individual splits and, of
5 course, we had multiple uses for this core. And all
6 I'm saying is that the line of this graph should be a
7 45 degree line and it's obviously not. We have some
8 work to do in this area.

9 DR. HAMMERMEISTER: Next slide, please.
10 Briefly, I'd like to turn to the hydraulic
11 conductivity testing program, and also there's some
12 transport parameter testing program. In the 15
13 repacked core samples that I've talked about
14 previously, we're working cooperatively with Los
15 Alamos National Laboratory on this. Nye County has
16 and continues to conduct the hydraulic conductivity
17 tests on these repacked core samples. Again, they're
18 repacked to attempt to approach in situ densities.
19 Once we've completed these tests, Los Alamos will
20 conduct transport parameter measurements on these
21 tests.

22 Some of the results of the samples that
23 have been repacked to about 1.7, an average density of
24 1.72 grams per cubic centimeter. The values are
25 relatively high. They range from 17 to .6 feet per

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 day depending upon the particle size distribution in
2 the repacked core. And as many other workers have
3 found, the hydraulic conductivity of the sample
4 decreases with increasing finds.

5 This observation is shown in the next
6 slide. We plot finds on the X axis and the log of the
7 hydraulic conductivity on the vertical axis. The
8 triangles are the 13 individual cores, and the squares
9 are the mean values for the five combined unified
10 classification groups that we had talked about
11 previously.

12 Next slide, please. Well, I guess you
13 might be asking, and I asked myself what is the value
14 of repacked, reconstituted small core samples? What's
15 the value of working with those samples? And what is
16 the relationship between these small laboratory
17 samples and larger scale hydraulic conductivity values
18 that are obtained in field tests?

19 A number of workers have found a rough
20 correlation between the size of the sample or the
21 volume of the sample being tested and hydraulic
22 conductivity. This particular slide is from a 1999
23 study in groundwater, and it shows on the left the
24 actual data. On the far left are laboratory core
25 samples. The next sample, which I can't even see the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 shape of it from here, is a piezometer sample. It's
2 larger in size. It's the larger scale sample. They
3 injected water into the piezometer screen in a bore
4 hole. The next samples were aquifer pump tests,
5 hydraulic conductivity values obtained from aquifer
6 pump tests, and a little bit further to the right are
7 some high volume pump tests.

8 At any rate, this is from -- this
9 particular material they have plotted here is from
10 glacial outwash material in Wisconsin, outwash aquifer
11 in Wisconsin. These particular authors, their data
12 looks awfully good compared to our data. Next slide,
13 it looks almost too good. I guess I'm not going to
14 show our data yet. This slide just shows that Nye
15 County has conducted hydraulic conductivity on a wide
16 range of sample sizes going from the smallest dry core
17 sample shown as Number 1 on the far -- and the actual
18 relative scales on the far right to field aquifer
19 tests between a pump hole and an observation well.

20 Next slide. We plot this data, which is
21 Nye County's data, and it doesn't look as nice and
22 tidy as did the data that was published on
23 groundwater. However, the good news is that the core
24 data, the smaller scale data on the left hand side is
25 at least lower in hydraulic conductivity than the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 larger scale data from aquifer pump tests. It's on
2 the very far right of the slide.

3 However, the bad news is that the -- in
4 particular, the repacked core data is shown on the
5 second circle from the left. The hydraulic
6 conductivity is actually higher than the larger scale
7 data that was determined in piezometers by
8 concentrated injection tests.

9 The reason for this apparent inconsistency
10 in the data, there are probably a whole bunch of
11 reasons, but one of them is that part of the porosity,
12 the density of the repacked samples. We did repack
13 the initial samples dry to facilitate speeding up the
14 tests. We were only too able to achieve a density of
15 1.7 grams per cubic centimeter. Again, we believe the
16 density of the subsurface material is in the range of
17 1.9 to 2.1 grams per cubic centimeter, so we've
18 actually repacked, and on the process of repacking and
19 testing samples that have a maximum density to be
20 packed in that optimum water content and we received
21 a density of roughly 1.9 grams per cubic centimeter.

22 If we plotted those data, we have some
23 preliminary data. We don't have enough to actually
24 plot here, but they appear to move that whole data
25 downward towards the regression lines.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We think the piezometer data may be
2 affected by findings accumulating on the bore hole
3 walls during the sonic cooling process. We talked
4 about finds migration in the core previously, and
5 we're going to go out in the field and try to more
6 aggressively develop the piezometer and try to clean
7 up our data set a little bit.

8 Next slide, please. Let's just skip that
9 slide, and skip that slide. Future work, we have some
10 additional work to complete, and also Los Alamos is
11 going to be running some transport parameters on our
12 repacked core samples.

13 Next slide, please. Our field work, as I
14 said before, we'd like to go back to the sonic core
15 hole which now has piezometer screens. We'd like to
16 develop the screens further and re-run our injection
17 test. We want to actually this year, actually put in
18 another sonic hole at Site 22, which will be the site
19 of the Nye County tracer test, which will start this
20 fall. We'd like to use the data. We'd like to get
21 this hole in before the actual tracer test, and we'd
22 like to be able to use this data to help us interpret
23 the single-hole and cross-hole tracer test that Nye
24 County plans to do this fall.

25 In addition, we would like to drill one or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 two additional exploratory holes in Flat Tire Flat,
2 and the next slide shows the possible locations of
3 these holes. Well, it doesn't show the locations, but
4 Flat Tire 22 is shown on this map. It's located
5 Pacific northwest of the white circle, and again Site
6 22 would be the location of our cross-hole and single-
7 hole tracer test, and also of our new sonic core hole.
8 Directly, not directly but a little bit to the west
9 and northwest, actually north of the cinder cones
10 shown there is Flat Tire Flat. We'd like to possibly
11 put some additional holes in that area to understand
12 faulting and potential flow paths in that particular
13 basin.

14 We also plan to do some geophysics, and I
15 did not mention we plan to do some square-array
16 resistivity work this year along the margin of Forty
17 Mile Wash to attempt to get a better handle on the
18 transition from saturated flow in volcanic rocks to
19 saturated flow in Alluvium. That's all I have, and
20 I'd just like if Jamie could spend three or four
21 minutes talking about buried faults and some
22 preliminary cross-sections he's developed that shows
23 the potential effect of these buried faults.

24 MEMBER HORNBERGER: Okay. Thank you,
25 Dale. So where are we, is Les Bradshaw up next?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. HAMMERMEISTER: No, Jamie.

2 MEMBER HORNBERGER: Okay.

3 DR. HAMMERMEISTER: Could we have the next
4 slide, please.

5 MEMBER HORNBERGER: Okay. Please proceed.

6 MR. WALKER: Good morning. I'm Jamie
7 Walker and --

8 MEMBER HORNBERGER: You have to turn the
9 microphone on. We can't hear you.

10 MR. WALKER: Good morning, I'm Jamie
11 Walker and --

12 MEMBER HORNBERGER: Maybe some of the
13 other microphones should be turned off because we're
14 getting interference.

15 MR. WALKER: Is that better?

16 MEMBER HORNBERGER: Yes, that's fine.
17 Thank you.

18 MR. WALKER: I'd like to talk to you today
19 about some work that we've presented at Devil's Hole
20 just recently. I put this slide up as the start of
21 this presentation to show an interpretation of depths
22 to pre-cenozoic basement or thickness of basin fill.
23 We've been working on looking at some of these things
24 in our Phase 4 drill program.

25 I'm also going to present two new

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 preliminary cross-sections. I think that Nye County's
2 Phase 4 drilling has better developed some
3 understanding of some of the older underlying growth
4 faults in the flow path from Yucca Mountain to
5 Amargosa Valley.

6 This figure shows, of course, the
7 thickness of basin fill deposits. You can see the
8 location of Nye County wells, Highway 95, the test
9 site boundary and the location of ESF at Yucca
10 Mountain.

11 I've looked at this figure for several
12 years and thought about it quite a bit. Now what
13 we've done is we've divided the Yucca Mountain basin
14 into two basins, Crater Flat Basin, and that follows
15 Friedrich's work. I also think that there's a second
16 shallow basin called the Fortymile Wash Basin for now
17 to the east.

18 We've drilled a series of deep exploratory
19 drill holes in Phase 4 to investigate some of these
20 features. That data was presented by Dr.
21 Hammermeister on the November '03 meeting to the ACNW.

22 You'll see that in this analysis there's
23 two basins of vast difference in thickness of basin
24 fill deposits from approximately 800 meters to as deep
25 as four kilometers. That's based on gravity data. 2DD

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 does drill through at 800 meters.

2 There are several recognized major faults
3 that control the thickness of cenozoic deposits.
4 These faults are shown on the map as the pink thicker
5 lines. We see south of the basins are the Highway 95
6 faults. Of course, these are interpreted differently
7 by Nye County than say by the USGS.

8 The other large scale features are the
9 Bear Mountain Fault to the west and the Gravity Fault
10 to the east. I've also put in a series of other
11 features or faults, but one that I call a fault is the
12 northeast trending fault that bisects the Highway 95
13 fault. It was of interest to us. It has both a
14 magnetic and a gravity signature. We've drilled these
15 three holes through there and I'll be presenting a
16 cross-section.

17 The cross-sections are not labeled,
18 unfortunately, on this diagram. The first cross-
19 section that I'll be presenting is labeled A-A-prime
20 on the next figure. That's the more east-west cross-
21 section, A to the west, and A-prime to the east. And
22 then B-B-prime, which is the north-south cross-section
23 following along the longitude of the boundary there.

24 We can go to the next slide, please. This
25 is cross-section 8A-prime. It goes across an area we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 call the Flat Tire Flat, which is directly due north
2 of the Lathrop Wells cone area over the south end of
3 Yucca Mountain and into the Fortymile Wash area, the
4 Fortymile Wash basin, if you'd like, the deeper
5 section.

6 What we can see is that on the west side
7 in 16P, the bore hole 16P, we have a complete section
8 of the tuffs of Yucca Mountain, and we go across a
9 bedrock or pre-volcanic section in the south end of
10 Yucca Mountain. That's shown by borehole 28 which
11 drills a large section of the Paintbrush group and
12 Crater Flat group rocks.

13 I should mention that this is somewhat
14 simplified to project these important features that
15 are shown in this cross-section. The biggest feature
16 in this cross-section is that the older rocks, rocks
17 that are generally called TVO and TS on most cross-
18 sections are rotated upward along growth faults that
19 are buried below Paintbrush top rocks.

20 These rocks, of course, are part of the
21 -- variously referred to as a lower volcanic
22 aquitard, and this would actually form an impediment
23 to flow in a southerly direction based on the
24 orientation of the structure.

25 It also has an interpretation of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Fortymile Wash area in the section down at Site 22,
2 which is a little bit problematic, but I think it's
3 consistent with most people's understanding of the
4 relationships.

5 Go to the next slide, please. This is in
6 cross-section B-B-prime. It's Nye County's
7 interpretation of the thinning of the volcanic tuff
8 section. Realize that this is a north-south cross
9 section basically along Fortymile Wash. It
10 illustrates the Highway 95 fault. The Highway 95
11 faults are the two dashed lines to the south.

12 From early in Phase 1 of Nye County's
13 drilling, the geologists recognized the importance of
14 the Highway 95 fault. In boreholes along Highway 95,
15 and especially south of Highway 95, no thick sections
16 of tuff were observed. Rather there are thick
17 sections of fine-grain sedimentary rocks that fill the
18 interval. The age of these rocks are uncertain,
19 although we generally believe that the rocks are part
20 of the older package of volcanics and sediments.

21 Clearly, there's a rapid facies boundary
22 or fault that juxtaposes the thick volcanic sections
23 against fine-grained basin fill sediments. This
24 cross-section shows that the volcanic section I think
25 in green units bend to the south before they are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 entirely cut off by the Highway 95 fault, here is
2 interpreted as a growth fault.

3 Both the Highway 95 fault and the southern
4 -- the fault that I've shown on the other section
5 which I refer to as the southern Yucca Mountain fault
6 decreased the thickness of the upper permeable
7 aquifers, and likely formed barriers or complicate
8 flow from Yucca Mountain into the Amargosa Desert.

9 In a general sense, I believe that these
10 aren't very well understood. They're only beginning
11 to be understood and they're not reflected in some of
12 the models that has been generated. I think perhaps
13 we've got a little bit more thinking to do on some of
14 these areas, and maybe reinterpret some of the
15 hydrostratigraphic sections. Thank you for your time.

16 MEMBER HORNBERGER: Thank you, Jamie. And
17 I now assume that we do move on to Les Bradshaw.
18 Again I think that your microphone may not be on.

19 MR. BRADSHAW: Thank you. Is that better?

20 MEMBER HORNBERGER: Yes, thank you.

21 MR. BRADSHAW: I'm going to be brief
22 today. My remarks are not directly on point as far as
23 being of a scientific nature. I wanted to give you
24 some ideas on some broader Nye County policy
25 perspectives on issues having to do with Yucca

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Mountain. Specifically, with coordinating water
2 resources information in southern Nye County, southern
3 Nevada, and having to do with Yucca Mountain as sort
4 of the focal point of that concern.

5 I want to talk to you just very briefly
6 about land-use patterns, growth patterns in Nye
7 County, review the federal activities that are
8 happening in the county, just mention the cumulative
9 impacts of these federal resource management actions,
10 and basically suggest that there could be -- we could
11 all work towards having a coordinated water resources
12 definition development and use plan that would
13 encompass a broader issue of broader needs than just
14 the Yucca Mountain project.

15 We have to think of Yucca Mountain as
16 being one of many activities that's happening in Nye
17 County. The county is growing exponentially. We
18 expect that growth to continue until the bubble bursts
19 in Clarke County if that ever happens. In our county,
20 we have about three-quarters of our population in
21 Pahrump which is becoming essentially a bedroom
22 community of Las Vegas, so our growth is tied to the
23 growth in the Las Vegas valley.

24 The next page, please. We are looking at
25 continuing that growth in the Pahrump area in southern

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Nye County. Pahrump, Amargosa and Beatty will form a
2 corridor of population where the bulk of Nye County
3 population will reside. Certainly the bulk resides
4 there now. We expect that trend to continue. We
5 expect the communities in northern Nevada, northern
6 Nye County to continue to decline, and for the bulk of
7 the population to be centered in Amargosa Valley and
8 Pahrump, with Pahrump being the centerpiece of that
9 growth.

10 Go forward to page 5. Eleven million
11 acres in the county. We have to provide our tax base
12 on 2 percent of that which is just as you look at a
13 map showing the private land in the county, there
14 isn't very much. The big bulk of it, a big chunk of
15 it is in the Pahrump Valley and Amargosa Valley. The
16 towns are landlocked. We have a plethora, if that's
17 a good word, or a large grouping I'll say, of federal
18 land management policies, agencies with their policies
19 clustered in Nye County, and each one of them having
20 their resource management plans. And we have to deal
21 with this wide range of resource management plans that
22 are not all particularly coherent, or interlocked, or
23 coordinated with each other.

24 The next page, please. The federal
25 agencies that I'm mentioning are the usual suspects,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and we try to have good relationships with all of
2 them. I think we do with most of them. Certainly, we
3 have the closest relationship with the DOE, and I have
4 DOE listed twice there because the Yucca Mountain
5 project is one of two DOE kingdoms in Nye County, the
6 other being NNSA. But we have a large contingency of
7 DOD, of course, BLM, and then the Forest Service, Fish
8 and Wildlife, and we have a little piece of the Death
9 Valley National Park.

10 Let's go on to skip page 7. I think we've
11 talked about that, and go to page 8. There is a
12 number of federal regulatory burdens that Nye County
13 is marrying these days, and so put the Yucca Mountain
14 project in the context of these issues. We have
15 federal air quality issues in Pahrump. The folks that
16 have cleaned up the air in Las Vegas now have moved on
17 to Pahrump, having recognized there's some fresh meat
18 over there to work on.

19 We have tortoise habitat areas in southern
20 Nye County, and the feds that looks after tortoise,
21 likewise, have looked over the hill to Pahrump, and
22 they're going to start looking after the turtles
23 there. A spotted frog habitat in northern Nye, the
24 Amargosa toad in the Beatty area. You may not realize
25 that in Beatty there's a river that flows through

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 town, and some toads live there, so that group will be
2 looking after that, a large group of feds.

3 We have wilderness study areas, some of
4 them going on 30 years, 30-years old. These are
5 wilderness study areas that are being managed as de
6 facto wilderness areas. I don't have the exact
7 acreage but they're huge areas. We do have two
8 wilderness areas in Nye County, beautiful areas if you
9 ever have the opportunity to go up and look at them.

10 Areas of critical environmental concern
11 are sprouting up everywhere. The Federal Land
12 Management Agencies are using these as ways to manage
13 habitats where they can't establish a WSA or
14 wilderness itself. And then there's all sorts of ad
15 hoc land management policies about species in habitat,
16 and cultural, recreational, grazing.

17 From our point of view, we don't see any
18 particular inter-agency cooperation or coordination,
19 and so Yucca Mountain, of course, has -- they're part
20 of this resource management grouping in Nye County.
21 And then the last one, the latest little thing that's
22 bothering us is this federal law enforcement issues
23 where some of the land management agencies in fact
24 believe that they have police authority on the lands
25 in the state. So there's a large grouping of issues.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 On the state-level issues, there's the
2 Southern Nevada Water Authority, what we call the
3 water "grab". And, of course, you folks here in Las
4 Vegas think that that's your water. We have to solve
5 a statewide water problem, but from our point of view
6 it's a grab, and so we need to work that out. And we
7 don't have the financial ability to participate
8 effectively in that issue, because the people that
9 sell water in Las Vegas have way more money than we
10 do. Consumer issues, health management policies,
11 over-allocated basins, and water speculators, so
12 that's kind of the context of the range of federal
13 issues in Nye County.

14 Water, of course, is at the center of most
15 of those. Nye County went out the other day and filed
16 on all basins in the county that are not shared with
17 other counties, and filed on all the water rights that
18 were available to file on, so that really hasn't come
19 out in the normal bureaucratic channel ways. I mean,
20 most people wouldn't know about that now until the
21 abstracts are published, and that will come out soon.
22 But we intend to sort of take charge of water issues
23 in the county, and we actually filed on basins on the
24 south side and on the north range, so we think this is
25 a fairly bold step. But it's all aimed at trying to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 get a grip on water resource management issues, and
2 trying to be sort of in charge of it instead of just
3 reacting to other people's actions.

4 Go on to page 11, please. The federal
5 activities having to do with nuclear issues are, of
6 course, the bomb testing that happened for 35 or so
7 years in Nye County, atmospheric and underground bomb
8 testing. The comment that I'm making on Slide 11
9 here, "Lack of effective Nye County involvement in
10 NNSA groundwater monitoring programs", I mean, some
11 folks might see that as a bit harsh to say, but we, in
12 fact, have no invitation from DOE to be involved in
13 their groundwater monitoring program, and we have no
14 money to be involved on our own dime, so we simply
15 have to sit back and look at what they're doing and
16 hope for the best.

17 The folks that live around the potential
18 off-site migration areas in northern Amargosa Valley
19 and the northern part of Beatty, are not too
20 comfortable with that, so we're sort of mounting a
21 campaign to tell DOE that we need to be involved in
22 that program. And we suggest to the other DOE, to the
23 ORD DOE, that that issue is of concern to them, and
24 that they should help us have the ability to look at
25 NNSA groundwater monitoring programs, because for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 perhaps two easy reasons.

2 One, the public doesn't differentiate
3 between the two. The public doesn't really -- I
4 mean, there has been no defined statement by anybody
5 that Yucca Mountain and NNSA radioactive contamination
6 issues are different, so it's all one big lump to the
7 public. And we'd like to be able to help DOE explain
8 themselves to our residents a little better than we're
9 now able to do. And perhaps the benefit to ORD might
10 be that it would help keep ORD's hands clean as to the
11 NNSA groundwater problem, so we suggest that.

12 And page 12, that's how a lot of people
13 view the test site. I mean, of course, that's one
14 small area and there are two areas of the test site
15 that have nothing to do with bomb testing, but this is
16 one view of the test site, and people are concerned
17 about what's happening with the groundwater in that
18 issue.

19 And the next slide, 13 - when you show
20 people that and you go back to 12 and 13, people have
21 the presumption that there's an issue with the bomb
22 testing, and people are asking us as a county
23 government to look at the whole ball of wax, instead
24 of looking at Yucca Mountain as an isolated part of
25 this overall DOE presence just north of the town of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Amargosa Valley.

2 And then when you look at Slide 14, if you
3 live in Amargosa Valley, you'll have reason to be
4 concerned because that's sort of going down through
5 your town. Just for those that are perhaps from out
6 of town, I'll mention that the town of Amargosa
7 Valley, you can't see it very well, but the town
8 boundaries of that town, they're established years and
9 years ago before Yucca Mountain was a gleam in
10 anyone's eye. It's a large area. It's about 400
11 square miles, and there's about 1,800 people living
12 there now. It's getting almost as large as Round
13 Mountain and Beatty, so while not large by a lot of
14 standards - and it's going to keep growing because
15 it's one of the largest chunks of private land in
16 southern Nevada right now, outside the Las Vegas
17 Valley, so we've all got to be able to work together
18 to be able to deal with that growth that's going to
19 come. And ORD is just going to get lumped in with
20 this larger DOE groundwater issue and the public
21 perception.

22 Going on to page 15, federal activities on
23 the test site that our residents are concerned about,
24 the Yucca Mountain project. And we try to tell folks
25 that as to groundwater contamination, that issue is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 way, way far in the future. That's not something that
2 anyone needs to worry about in the immediate future.

3 Transporting nuclear waste in the first
4 years of storage at Yucca Mountain, we don't have a
5 groundwater issue, but people don't quite either
6 believe that, or don't understand it, so we've got to
7 be up front with the residents on that.

8 We are concerned and we have an obsession
9 to define regional and local groundwater flow paths,
10 and since you folks, ORD, and NNSA are spending most
11 of the money these days on groundwater definition in
12 southern Nevada, let's say southern Nye County, that
13 those other significant -- well, let's say not
14 significant money-wise, but significant lines of
15 inquiry from the Park Service. They're very concerned
16 about what's happening with the water in the region
17 because they have their concerns about the pupfish
18 habitat mainly, in our county.

19 You might not know this, but the National
20 Park Services owns Devils Hole, and so it's their
21 concern. And there's concern about the water levels
22 there, and draw-down, and so on. We don't understand
23 the regional groundwater flow paths, and the local,
24 but the information that BLM and Park Service needs,
25 and that ORD has, and perhaps that NNSA has, it's not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 flowing inter-agency, so people are just not in their
2 own little programs, Park Service is going to solve
3 the pupfish, ORD is going to solve Yucca Mountain,
4 NNSA is going to solve bomb testing, and it's
5 discordant. It's not being coordinated in a way that
6 is amenable to good decision making based on the best
7 available database.

8 Certainly, local government officials
9 can't hardly get a grip on it, and I would suggest
10 that the agencies that are working on groundwater in
11 the area probably could speak to each other more than
12 they do.

13 Let's skip page 16. Some of the reasons
14 that these issues are economically important to Nye
15 County on page 17, there's a large dairy there that
16 pumps a lot of money. The dairy is, in fact, one of
17 the top three or four employers in the county, and
18 their operation there - I'm not going to suggest how
19 much of an operation it is every year money-wise, but
20 it's a multi-million dollar operation. The number of
21 cows comes and goes, but it's up in the range of six
22 to eight thousand cows that are milked there every
23 day, and it's milk that supplies a good deal of --
24 well, it supplies the southwest U.S. I don't know
25 where the markets are, and I'm not going to make a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 guess on that, but these gallons of milk head down to
2 people that live close by.

3 Going on to page 18, the basic issue that
4 I'm laying out is that we, as county government, must
5 understand the quantity and quality of our groundwater
6 resources. Without an accurate understanding of that,
7 we can't plan for growth. We can't give ORD the best
8 advice on how to lay out their infrastructure and how
9 to meld their infrastructure into Nye County growth
10 patterns and plans without understanding where the
11 water is, and all about water. Everything is about
12 water, and so we're calling -- I guess what I'm doing
13 is calling for better coordination amongst all of the
14 agencies that are spending money on this issue.

15 We're in the process of adopting a Nye
16 County water resources plan. I helped to bring this
17 before the Board of Commissioners for a couple of
18 public hearings on this during July and early August,
19 and the idea would be that the county water resources
20 plan would be adopted as part of the Nye County
21 comprehensive plan. And that's important so that Nye
22 County can have a water resources strategic plan, so
23 that when we come and talk together about water, that
24 you know what we're thinking, and we can help you
25 understand -- we can understand what you're thinking

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and tell how your plans fit into the Nye County water
2 resources plan.

3 I envision this as a collaborative
4 undertaking. And I've given on page 20, just to wet
5 your appetite a little bit and I encourage you to read
6 a little bit of the Table of Contents.

7 Page 21, the water resources alternative.
8 Of course, in that plan are no action, just let things
9 happen, just stand back and hope for the best. And
10 we're good at that, we've done a lot of that kind of
11 stuff in the past. The second alternative is an
12 advisory alternative where we would particularly be
13 active in shaping water resource issues, but we would
14 act as an intermediary between the users and the
15 regulators, and that's one alternative. I think what
16 we're going to do is actually on page 23, and my Board
17 of Commissioners is actually being actively involved
18 in water resources planning.

19 I'm not suggesting that we're going to
20 start up a general improvement district or water
21 planning commission. We haven't quite got that far
22 yet, but we're going to do more than just being laid
23 back and sort of reacting to other people's actions.
24 And as direct evidence of that, is the fact that the
25 board instructed us to go out and file on all the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 unallocated water in all the basins in Nye County that
2 aren't shared with other counties.

3 By the way, with those basins we're going
4 to go and perhaps collaboratively -- if the
5 speculators haven't beat us to the punch, we're going
6 to go out and work with the county that we share
7 basins with and do something about those. So we can
8 expect Nye County to be active in its own water
9 resources management planning in the future.

10 The next page, 24, the resources plan will
11 be adopted soon. And I'm proud of the Board of
12 Commissioners for being forward-thinking in this
13 issue. We can't just lay back. Just like our
14 attitude about Yucca Mountain, we can't just lay back
15 and let it happen and hope for the best. Let's be at
16 the table and be part of the planning.

17 My closing comments are that let's
18 coordinate our research. There doesn't seem to be -
19 and I'm speaking from sort of a -- I'm a geologist.
20 Maybe today I shouldn't really admit that, but from a
21 county administrator or county official's point of
22 view, there doesn't seem to be a common database that
23 planning commissions and town boards, and developers
24 and others can go to and sort of get the big picture
25 on water issues. You have to go in front of the dime,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and then ultimately we have to get expert consultants
2 or staffers to tell us what all the data means. And
3 then even at that, it's sort of a personalized
4 interpretation of what the data means. So we need to
5 have the data more accessible for local government
6 planning, and I suggest also for federal government
7 planning, for joint federal and local government
8 planning.

9 Competing agency objectives and goals need
10 to be eliminated. You'd be surprised. The BLM has
11 four administrative offices that deal with Nye County.
12 The Forest Service has three, the Park Service luckily
13 just one, wouldn't you know that, but BIA actually has
14 two, and then the DOEs in all the flavors and colors.
15 And if you look in detail at all the resource
16 management plans that are in all the EISs that are
17 floating around out there, it doesn't fit together
18 very well. And there's actually competing agency
19 objectives, and a case in point is the Park Service
20 that, as you know, they forecast everything. I mean,
21 if you want to have a point of divergence for a
22 domestic well -- but magically enough, when DOE is
23 looking for water for Yucca Mountain, actually the
24 Park Service disappeared, so sometimes the Park
25 Service protests and sometimes they don't. It's a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 little incomprehensible.

2 Lastly, there are lots of data in people's
3 heads, and we've got to do something, if we can, to
4 retain people that worked for years and years on these
5 issues, and then leave the service of the government.
6 But they're still out there. They're still bright and
7 articulate people, and they need to be part of this
8 data management repository that I'm talking about some
9 way or another. WE shouldn't just them drift off into
10 the sunset and never hear of them again because a lot
11 of this stuff is floating in their heads, and isn't
12 really down on paper.

13 So a collaborative, non-confrontational
14 coordinated regional planning effort is Nye County's
15 goal. Actually, I tore off the last page of this
16 thing and didn't present it today because I don't
17 really have a clear view of how we're going to reach
18 this objective. I guess I'm just like a lot of people
19 that come before my Board of Commissioners. You come
20 here and lay a problem on the table, and you don't
21 bring a solution with you.

22 I'm hoping that the people that hear this,
23 and other groups that I'm speaking with, that some way
24 we can formulate a solution, that we can get a way to
25 get southern Nevada, southern Nye County water issues

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 packaged up a little better so that it's a little more
2 useful to local government, federal government, state
3 government. And actually, we can't leave out our
4 brethren down in Inyo County, which is part of -- I
5 mean, economically the eastern part of Inyo is
6 basically tied to Nye County, water-wise they are. So
7 it's a couple of states and it's all the federal
8 agencies and two or three local government agencies
9 and counties that have to learn how to work together.
10 So I leave that with you. I hope that we can spark a
11 discussion and get some ideas on how we could get a
12 more coordinated interaction process as we work
13 together on water issues, and then how that data can
14 be managed in a way that makes it more accessible to
15 local government. I'm concerned about local
16 government, but all of us would have to get together
17 and talk about water resources issues. Thank you very
18 much.

19 MEMBER HORNBERGER: Thank you, Les.
20 First, let me state for the record that as far as the
21 ACNW is concerned, it's quite all right for a person
22 to admit to being a geologist.

23 We will entertain some questions now for
24 the people from Nye County. Don, do you have any?
25 Hearing none.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. SHETTEL: I had a couple of questions
2 for Dale. The sonic coring doesn't -- I mean, coring
3 almost seems like it's a misnomer. The sample doesn't
4 come out the way it exists before you started.

5 DR. HAMMERMEISTER: Well, the well isn't
6 tapped. That's important. And we'd probably say for
7 the expansion of the core, would do a reasonably good
8 job assigning depth intervals. I think that's an
9 extremely important contribution.

10 DR. SHETTEL: Does it come out expanded?

11 DR. HAMMERMEISTER: Yes.

12 DR. SHETTEL: Okay. Does it come out warm
13 or hot from the procedure?

14 DR. HAMMERMEISTER: Because it's below the
15 water table, it's generally not warm, but we see
16 evidence of the heat just by the movement of water in
17 the actual core itself.

18 DR. SHETTEL: Okay. And the main value of
19 reconstituting the core is the expense versus taking
20 a drill core?

21 DR. HAMMERMEISTER: The problem is, is
22 that this is probably one of the very few, if the
23 only, method of obtaining core from coarse-grain
24 Alluvium. All other coring methods just simply either
25 wash away the core, or are prohibitively expensive.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 In the past, we have been slightly successful using
2 dry core techniques where we just pound the solid tube
3 into the ground and extract the core. This is one of
4 the only methods available that we're aware of, and I
5 think that's an important contribution to the project.

6 DR. SHETTEL: Thank you.

7 MEMBER HORNBERGER: Dick.

8 DR. PARIZEK: Yes. I wanted to compliment
9 Les Bradshaw on a tutorial which gives, I guess
10 easterners, a good sense of the complexity of
11 interaction of governmental groups on all scales, and
12 the competitions on water in a water-scarce region.

13 I also attended the Devils Hole workshop
14 recently, plus others. I would invite all people who
15 have not gotten in on the ground where the work is
16 being done and meet the public, and basically the
17 people who have to face all these issues. You'll find
18 this an extremely rewarding place to go.

19 A question about whether or not Nye
20 County's plan includes water for Yucca Mountain. Is
21 that part of the process, and is DOE involved in that
22 plan as you're developing it at Nye County?

23 MR. BRADSHAW: We're not -- the filings
24 that we just did were not intended to interfere with
25 or supersede, or in any way diminish whatever water

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 rights that ORD or DOE has in regard to Yucca
2 Mountain. The other filings on the test site have to
3 do more with resource damage and various remedies to
4 that. And that has really nothing to do with Yucca
5 Mountain. And Yucca Mountain's water needs are not
6 -- they're significantly, fairly significant, but
7 they're not overwhelming. But in an over-allocated
8 basin, and with expected growth in the future, I mean
9 there's 2,000 people there now. What if there's
10 10,000 or 15,000 in 2020? I mean, DOE's activities
11 and actions need to be coordinated and integrated with
12 the Nye County's growth management plan. None of our
13 actions are directly aimed at either supplying water,
14 selling water rights to ORD, or interfering with their
15 legal issues having to do with water.

16 DR. PARIZEK: A question for Tom Buqo.
17 The discussion about really the evapotranspiration
18 estimates, you've implied that there's obviously
19 refinements needed, and yet evapotranspiration was one
20 of the drivers for the regional flow model which also
21 embodies a site-scale model. And if you don't have
22 the discharger's right, you don't have the recharge's
23 right. How do you think this is going to affect the
24 reliability of the present regional model and the
25 site-scale model given the work that you're doing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 trying to upgrade the understanding of
2 evapotranspiration losses?

3 MR. BUQO: Well, I think it points to the
4 large amount of uncertainty in the regional model, and
5 by connection to the site-scale model, the uncertainty
6 in that. We don't know what that rate is. We're just
7 saying that it's very important that we do understand
8 that, that the work that's been done suggests that it
9 could be appreciably more. It's all linked together,
10 and if the discharge goes up, then the recharge has to
11 go up correspondingly somewhere else in that system so
12 we can have a balance. And that changes our whole
13 water planning forecast because now we have more
14 recharge to work with.

15 I think also importantly with respect to
16 the site-scale model, a lot of the input coming into
17 that site-scale, particularly from Rock Valley, is a
18 gross estimate based upon 50-year old reconnaissance
19 reports on underflow coming off the Sheep Range and
20 the Spring Mountains, coming through Frenchman Lake,
21 Yucca Flat, and Mercury Valley. It's not a solid
22 number. It's a very soft number, and that's the sort
23 of thing we need to refine, because if you look at the
24 mass balance for the site-scale model, it all hinges
25 on that one value coming in from one hydrographic

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 basin. And if you separate that one basin out from
2 the others, you get a totally different mass balance,
3 at least from the previous versions that we saw. And
4 we are looking forward to the most recent so-called
5 transient regional model that's supposed to come out
6 in September to see if that's going to provide us a
7 better idea of what our future impacts are going to
8 be.

9 DR. PARIZEK: Thank you. And one for
10 Dale. The sonic core is a huge improvement over
11 samples that were collected previously. And, Don, I'm
12 not sure whether you've seen that core, but it is a
13 real core in so many ways other than cuttings that
14 just blew out of holes by rotary methods of drilling.

15 When we look at that core, one sees rock
16 fragments in class which are deeply weathered. Would
17 you have seen similar materials in the other methods
18 of drilling, Dale, or would that rock just break up?
19 And these are pebbles, cobbles, boulder-size materials
20 that were rock, more or less. Do you believe you
21 would see that by the rotary method of drilling,
22 because again that raises a question about diffusion
23 into rock fragments in terms of the groundwater flow
24 field effects. There's benefit to be derived from
25 that if that's, in fact, the way this material is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 located.

2 DR. HAMMERMEISTER: No, I think that the
3 rotary method would grind up the more weathered
4 material, in fact, does grind up the more weathered
5 material. And a lot of the off-sites and perhaps some
6 of the clays on the weathered material are not even
7 captured. They're washing away during the rotary
8 drilling. And at least a portion of the finds that we
9 do see, the silt and clay that we do see in a rotary
10 drilling potentially are simply ground up gravels and
11 cobble material.

12 DR. PARIZEK: And that weathered interval,
13 whether that's really a paleosol or not, I mean,
14 obviously the soils you see, and the buried soils you
15 see in Fortymile Canyon are much younger, but that
16 deeply weathered material implies something about
17 having them transported that way or formed in place as
18 a weathering product, so there may be some soil
19 information hidden down there that may come out of the
20 sonic drilling program.

21 DR. HAMMERMEISTER: Yes.

22 MEMBER HORNBERGER: Okay. Jim Davis.

23 DR. DAVIS: Yes, a question for Dale. In
24 your future work, what's driving where you're
25 selecting locations to drill? For example, you're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 going to go to the 22 area location. Are you being
2 driven by the understanding of the faults, as Jamie
3 was talking about, or what other criterion are you
4 using to select locations?

5 DR. HAMMERMEISTER: Tracer test location,
6 but clearly, tracer tests give a much better large-
7 scale estimate of travel times and flow pathways than
8 core do, but we feel that core would help us to
9 understand and interpret the tracer test data, so to
10 date, we drilled out the Alluvium testing complex
11 where we hopefully -- either DOE or Nye County will
12 do additional tracer tests, and the 22 complex. Those
13 are our priorities.

14 MEMBER HORNBERGER: Jim Clarke.

15 DR. CLARKE: If we look at Slide 38 of
16 Dale's presentation, could you just tell us which are
17 the wells that will be involved in the tracer test?

18 MEMBER HORNBERGER: Again, from Slide 38,
19 if it does come up, it's almost due north along the
20 Fortymile Wash channel. If you look due north to the
21 white circle, if you have the handout - it's a little
22 it to the northeast. The first yellow triangle are
23 labeled the 22SA, 22PA, 22PV. That's the location of
24 the Nye County tracer tests that we'll be starting
25 this fall. I guess this slide will never come up.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER HORNBERGER: Do you have it, Jim?

2 DR. CLARKE: Yes. For some reason I
3 thought there were other wells involved, as well.

4 MEMBER HORNBERGER: Well, it's a complex.

5 DR. CLARKE: Okay. Complex. All right.

6 MEMBER HORNBERGER: Ines.

7 DR. TRIAY: I just have one quick comment
8 that I truly commend Nye County for their leadership
9 in trying to coordinate the water resources definition
10 development and use. And certainly, all the other
11 agencies also should be strongly encouraged to
12 collaborate in this effort.

13 MEMBER HORNBERGER: Thank you. Allen.

14 DR. CROFF: Pass.

15 MEMBER HORNBERGER: Michael.

16 ACTING CHAIRMAN RYAN: I pass. Thanks.

17 MEMBER HORNBERGER: Ruth.

18 MEMBER WEINER: I have one for Tom Buqo.
19 I, too, live in a water-short area where we are
20 running out of groundwater, and we have a water
21 management plan. And I'm not on any decision making
22 or decision aiding body, but I know that to get the
23 citizens of Albuquerque, New Mexico, to get the City
24 Council and the County Council, Bernalillo County, to
25 accept the water management plan - we had to have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 quite a bit of evidence that we needed one. And I was
2 just wondering what did you present to your county to
3 get them to accept your water management plan?

4 MR. BUQO: Well, initially it was just a
5 dove-tail onto another rural water plan. The State of
6 Nevada in 1999 put out their second state water plan.
7 At that time, they encouraged each of the counties to
8 do their own water resources plan. Since then, that
9 planning department has gone away, but the planning
10 effort has gone forward.

11 As Mr. Bradshaw mentioned, we have a lot
12 of problems with water in Pahrump, in particular, and
13 Amargosa Valley secondarily. The citizens are all
14 very aware of those. Some of our citizens have had
15 protests outstanding on their water right applications
16 for over a decade now. They simply can't move forward
17 because they don't have the financial wherewithal, so
18 it's not only the citizens, but also their elected
19 officials who are very aware of these problems, so it
20 wasn't difficult at all.

21 We have a much smaller critical mass in
22 southern Nye County than the folks in Albuquerque do,
23 of course, and probably fewer vested interests.
24 Everybody is interested in their own well in Pahrump,
25 and although initially we did get some opposition, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was yelled at at meetings and that sort of thing -
2 with time and dropping water levels, people came on
3 board. And now those same developers that were
4 yelling at me eight years ago, are now on board as
5 part of ad hoc committees to resolve the problems.

6 MEMBER WEINER: How long do you expect it
7 to be before you've mined all your groundwater?

8 MR. BUQO: We can mine groundwater
9 indefinitely. We will pay the consequences of mining
10 it in terms of having to pay more money into the
11 county road budget to fix the cracks in the roads and
12 resolution of disputes between individual well owners.
13 If we have to, we can mine it forever. We've got
14 several thousand feet of available saturated thickness
15 in Pahrump, but we don't see that as being a good
16 solution when there are other sources available.

17 Same thing, Las Vegas is not mining.
18 They're going to other areas to import water to Las
19 Vegas Artesian Basin.

20 MEMBER WEINER: Thanks. I have a question
21 for Les Bradshaw also, and comment. We visited the
22 Amargosa Valley, several of us, and the owner of that
23 dairy told me he had moved there in 1995 which, of
24 course, was well after the project at Yucca Mountain
25 had started. And I was wondering, what percent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 roughly of the 1,800 people who live there moved there
2 since 1987, if you have some idea.

3 MR. BRADSHAW: I'd say at least maybe 60
4 percent. In other words, I'm suggesting that in '87
5 there was eight or nine hundred people in the valley,
6 and there's close to 2,000 now.

7 MEMBER WEINER: Thank you.

8 MEMBER HORNBERGER: Okay. Thank you very
9 much. Our last presentation before our lunch break is
10 by Matt Kozak, who is going to tell us about some of
11 the EPRI evaluations of the saturated zone.
12 Fortunately, Matt has a more subdued tie on today so
13 he won't blind us.

14 MR. KOZAK: Well, this is an enviable
15 position since I'm sure nobody will want to ask any
16 questions afterwards. I am representing the EPRI TSPA
17 team. As most of you probably know, EPRI maintains an
18 independent capability to do TSPA for Yucca Mountain.
19 Ordinarily, at a meeting like this that's
20 predominantly geosphere, we would have Frank Schwartz
21 come and address you, but he couldn't be here, and so
22 you are reduced to having me giving you sort of TSPA
23 flavored geosphere presentation. Next one, please.

24 Most of the comments that I'm going to be
25 giving you are just notes that Frank sent me last week

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 when I found out that I was going to be here, and so
2 for the past several years, we have been looking at
3 several different issues. Some of the ones that it
4 would be appropriate to look at here is the
5 contributions of the both the UZ and the SZ, and the
6 fact that what we are trying to do with our TSPA is to
7 look at more realistic, as opposed to strictly
8 conservative-type calculations in TSPA.

9 I'm not going to talk about the UZ and SZ
10 as this seems to be more of an SZ kind of meeting, and
11 so predominantly what I'm going to talk about is the
12 concept of the flowing interval, which Bill Arnold
13 yesterday mentioned was one of their key phenomena
14 that they were concerned with. Next one, please.

15 I put this in just sort of as a general
16 overview of what we're trying to accomplish and to try
17 to provoke some thought. We go back to 40 CFR 197,
18 and you look at the economic impact analysis for that
19 which is cited down there at the bottom, it's
20 interesting to look at what it is that we're shooting
21 for in the Yucca Mountain TSPAs.

22 There's a nice discussion in the EIA for
23 40 CFR 197, and I've only extracted a short bullet
24 item here to kind of get across the idea of what
25 they're looking for. In a nutshell, what EPA said

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 their reasonable expectation meant was if we could get
2 rid of all the conservatisms out of TSPA, that that
3 kind of calculation would be the one that would be
4 appropriate to compare against the numerical standard.
5 Now that's fairly different from what we see DOE, NRC,
6 and even to a large extent the EPRI TSPA analyses
7 trying to do.

8 For people who aren't really deeply
9 involved in TSPA, it's hard to get across how deeply
10 imbued this notion of conservatism is in the whole
11 process. Really, any time that you're faced with an
12 uncertainty you end up biasing things for the sake of
13 conservatism. And at the end of the day, you have a
14 large amount of compounded conservatism, and yet we've
15 got this standard that says our health-based safety
16 standard is based on something that doesn't have any
17 of those conservatisms in it. So the difference
18 between those two is sort of an unquantified, and to
19 a large extent, unrecognized degree of conservatism
20 that's built into the whole process.

21 And so one of the things that we try to do
22 in the EPRI TSPA is to look for some of the more kind
23 of Draconian conservatisms and just say well, what if
24 it's not that conservative, how can we back off on
25 that? And what are the results? Is it orders of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 magnitude, is it not orders of magnitude?

2 But at the end of the day, we still really
3 don't know. And even in our TSPA, there's lots of
4 conservatisms that we find all the time, and that are
5 there intentionally. There is this undetermined level
6 of conservatism, so when you see those terms,
7 recognize that they are probably some orders of
8 magnitude over and above what perhaps the realistic
9 estimate of what the repository performance might be.

10 Next please. The other point to make,
11 which I don't think I really need to make to this
12 audience too much is to recognize that this is part of
13 a total system. So when we start getting concerned
14 about individual assumptions, about individual
15 processes, and individual elements of that, we really
16 have to be careful and make sure that we recognize
17 that that's only one part. And even if we were to be
18 completely wrong on one particular assumption, it's
19 probably compensated for elsewhere in the system. And
20 so while we are looking for good performance from the
21 saturated zone, it's not the only part of the system.
22 And even if we have made some incorrect assumptions in
23 regard to conservatism, it's certainly going to be
24 compensated for by conservatism elsewhere in the
25 system. Next, please.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Down to the saturated zone now, and we're
2 back a bit more to Frank's comments. What we think is
3 that -- well, first of all, again in regard to this
4 philosophy, we've tried to avoid excessive
5 conservatism in our representations, and we think that
6 in the saturated zone, for instance, that there has
7 been a neglect of some processes that because they're
8 not well-understood are treated conservatively and so
9 forth, and at the end of the day, we think that the
10 saturated zone analysis is fairly conservative
11 compared to what might be reality.

12 To a large extent, at least in our
13 program, the saturated zone has played second fiddle
14 to a large extent, because we get a lot of benefit
15 from the unsaturated zone, and the other aspects of
16 the system. And so in terms of setting our own
17 priorities, we haven't put a real lot of priority on
18 saturated zone in the past few years anyway. Next,
19 please.

20 This concept of the flowing interval has
21 been developed in TSPA to conceptualize the fractured
22 flow in the UZ, and the SZ. The flow and transport
23 occurs within these poorly connected system of flowing
24 intervals, in which the flowing interval spacing is
25 much larger than the fractured spacing. Next one,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 please.

2 One of the issues is that these flowing
3 intervals are relatively rare, that they do not appear
4 to have significant inter-connections because of the
5 random distribution. And as a consequence of the
6 assumptions in the TSPA, particularly the DOE TSPA
7 that Frank had reviewed and developed in his work,
8 that the large rock blocks between the flowing
9 intervals tends to minimize the effect of matrix
10 diffusion in the TSPA model.

11 This is separate from field studies and so
12 forth, because you have to understand that when you do
13 a TSPA, you abstract these field studies, and a lot of
14 times, the TSPA person says well, I don't have the
15 capability, or I don't have the desire to incorporate
16 that, or I'm going to represent it conservatively. So
17 TSPA models are typically a lot more conservative, and
18 don't necessarily represent some of the processes to
19 the same extent that you would see in the C-wells
20 tests. Next, please.

21 This was some sensitivity analysis that we
22 did looking at the effect of the block size of these
23 flowing intervals, and you'll see that when we go down
24 to smaller blocks, I don't know if you can see the
25 scale which is, unfortunately, in days for obscure

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reasons, but we get an increase of about an order of
2 magnitude in delay time just in looking at the
3 difference in features of these flowing intervals.
4 Next, please.

5 And so just a few concluding comments,
6 that essentially in the DOE model, the same sparse
7 network of fractures is being called upon to carry
8 fairly large quantities of water and to function as an
9 aquifer. There seems to be a different model for the
10 UZ and for the SZ, and the way they're put together
11 sort of maximizes the conservative aspects of both, so
12 that the conglomerate of them is actually more
13 conservative than the two taken individually. And so
14 at the end of the day, we think that the TSPA models
15 for the saturated zone are likely to be significantly
16 conservative with respect to reality, and so we
17 probably have lot longer delay times, and probably
18 higher dilutions from the saturated zone than we see
19 coming out of the TSPA models. And that's all I have
20 to say, .

21 MEMBER HORNBERGER: Thanks very much,
22 Matt.

23 DR. KOZAK: I tried to be brief before
24 lunch.

25 MEMBER HORNBERGER: Well, that was good,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and you may be right about not having any questions,
2 but you may not be, as well. Don, do you have any
3 questions for Matt?

4 DR. SHETTEL: Not at the moment.

5 MEMBER HORNBERGER: Okay. Dick.

6 DR. PARIZEK: You picked just the flowing
7 interval as one example of conservatism. You probably
8 have others?

9 DR. KOZAK: Yes.

10 DR. PARIZEK: And so you're saying that
11 this is just one place.

12 DR. KOZAK: Yes. This is one place that
13 in particular, Frank chose to highlight as being an
14 example that we could point out where just by making
15 slightly different assumptions, you can get
16 dramatically different behavior, significantly more
17 benefit.

18 Now one of the ones that's been talked
19 about quite a bit around the table in the last couple
20 of hours, I think, is the notion of matrix diffusion
21 in the Alluvium, which we don't have in our model
22 either. Certainly, if you start to introduce more
23 matrix diffusion, you're going to get a lot higher
24 benefit, and I think that's something well-worth
25 investigating to see what the knowledge base and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 database is to support that.

2 DR. PARIZEK: Have you actually ranked
3 others in terms of their priority, in terms of
4 performance? Sort of like the risk-based thing that
5 Tim has talked to us about.

6 DR. KOZAK: Yes, a couple of -- sorry, go
7 ahead.

8 DR. PARIZEK: That's all right.

9 DR. KOZAK: Okay. A couple of years ago,
10 we went through something that was a -- I'm trying to
11 think of what the buzz words were that we used for it,
12 but essentially it was looking at each individual
13 barrier of the system individually, and looking at how
14 much benefit you got from each one sequentially.

15 There were some limitations to the way
16 that we did it, but we have looked at that, and we are
17 seeing a significant benefit from all aspects of the
18 system, is really what the most important outcome of
19 that work was.

20 MEMBER HORNBERGER: Jim Davis.

21 DR. DAVIS: Just a comment. I wouldn't be
22 so positive that matrix diffusion in the Alluvium
23 would contribute a lot more, because the batch tests
24 that are normally done with Alluvium are done with
25 grain sizes up to 2 millimeters, and they typically

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are measuring sorption over many days. And so at
2 least some of the matrix diffusion that you are
3 imaging would be, in fact, already incorporated into
4 the KD
5 measurements.

6 DR. KOZAK: Yes. And I'm not at all
7 positive. That was just one that struck me from this
8 meeting, that not being a geosphere specialist, that
9 was the first time that I'd heard that proposed as a
10 concept, and that's why I mentioned it. But yet, I'm
11 not at all certain of its -- but it would be
12 interesting to look at what the effect would be, even
13 as a sensitivity study it would be worthwhile doing.
14 And if it doesn't matter, we don't care.

15 MEMBER HORNBERGER: Jim Clarke.

16 DR. CLARKE: Mine was answered.

17 MEMBER HORNBERGER: Ines.

18 DR. TRIAY: So if you had to summarize
19 anything that needed to be done, if you could
20 summarize for us in your opinion what is it that needs
21 to be done for that independent function that you're
22 trying to fulfill, what would it be?

23 DR. KOZAK: I think the role that we fill
24 will be in showing sort of the degree or conservatism
25 that is embedded in the models. If we can back off on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the conservatism and do so in a reasonable and
2 justifiable way, I fully recognize that in the
3 licensing process it's most efficient, effective, and
4 pragmatic to do things the way the DOE and NRC are
5 doing them, but we do have this gap between what is
6 safe in the EPA sense, and the way TSPA is approaching
7 it.

8 If we can identify how big that gap is, I
9 think that would help people make a decision about the
10 effectiveness of the repository, and the viability of
11 the repository. Sorry, shouldn't use viability since
12 we passed the viability.

13 DR. TRIAY: That's right. Don't forget
14 that.

15 DR. KOZAK: Viability with a small V.

16 DR. TRIAY: So for instance, just so that
17 I understand, would it be fair to say, and I don't
18 know, so I'm not trying to lead you on. Answer
19 honestly - would it be fair to say that you would be
20 looking at a table like the one that was presented on
21 page 15, with the Ds and stuff like that, and try to
22 see whether you agree with that kind of emulation from
23 the NRC?

24 DR. KOZAK: Yes, although the way we work
25 is more down at more of a detailed level of we look at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a particular assumption and say well, that assumption
2 seems pretty conservative. How can we back off on
3 that and still do something that is reasonable, but
4 less conservative, recognizing that we don't have to
5 stand in front of the licensing board either, that
6 we're not part of the licensing process.

7 MEMBER HORNBERGER: Allen.

8 DR. TRIAY: We get all the fun jobs.

9 MEMBER HORNBERGER: Allen. No. Michael.

10 ACTING CHAIRMAN RYAN: On your last bullet
11 on your last slide, Matt, you say "significantly
12 conservative." Are you willing to tell me if that's
13 a factor of two, or a factor of a hundred, or
14 somewhere in-between? Do you have any sense of the
15 quantification of that yet?

16 DR. KOZAK: Yes, I would never use the
17 word "significant" if it were a factor of 2 in TSPA,
18 so I would say an order of magnitude or more.

19 ACTING CHAIRMAN RYAN: Or more. Okay.

20 DR. KOZAK: Yes.

21 ACTING CHAIRMAN RYAN: That's helpful
22 because I think it's an insight, again as you think
23 about formal tools like the one that Tim McCartin
24 presented, that's helpful. So an order of magnitude
25 or more is what you think this particularly saturated

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 zone component might be, and there may be others and
2 so forth.

3 DR. KOZAK: Yes. Although, again,
4 conservative can be defined in a couple of different
5 ways in the context of the rule because you have a
6 time-dependent rule, so something that pushes things
7 further out in time has a desirable effect, as well as
8 lower the dose.

9 ACTING CHAIRMAN RYAN: Right.

10 DR. KOZAK: But yes, it's --

11 ACTING CHAIRMAN RYAN: Great. Thank you.

12 MEMBER HORNBERGER: Ruth.

13 MEMBER WEINER: I have two questions that
14 may appear to be diametrically opposed. A former
15 member, a distinguished member of this committee, far
16 more distinguished than I, has been known to say it
17 isn't conservative, it's wrong. And that's Milt
18 Levinson, and I wondered whether you had any sense of
19 the estimation of inputs to the TSPA that were so
20 conservative they could be called wrong? And the
21 opposed question is, how do you in going from
22 conservatism to what you see as realism, how do you
23 counter the charge that, or the statement that okay,
24 we looked at a bounding case. And if it's okay for
25 the bounding case, it's obviously okay for cases that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are less than or that are within the boundary case.

2 DR. KOZAK: Regarding your first question,
3 Milt has said the same thing to me, and I actually
4 disagree with that comment in the context of a
5 regulatory assessment. It's absolutely correct in a
6 scientific sense, that if you're conservative by
7 definition you're wrong. You're not accurately
8 predicting, which is what you're generally trying to
9 do in a scientific sense.

10 In a regulatory sense, it comes back to
11 your second point where if I could go out and have my
12 Remy eat the waste, that's obviously wrong. No one is
13 ever going to do that, but if it were safe in a
14 dosimetric sense, then I wouldn't care about all these
15 other processes. The only reason that we're delving
16 into it in the depth that we are is because the waste
17 is more hazardous, and so you have to have a balance
18 between conservatism and non-conservatism in a
19 regulatory sense because that's the most convincing
20 argument.

21 If you can bound it, and do a convincing
22 job of bounding it, that's the ideal way to do it in
23 a regulatory sense. And it's cost-effective too,
24 which is a good thing, because you don't have to spend
25 years studying some particular process, which has been

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 done with other repository programs that have studied
2 some particular phenomenon ad nauseam, and not come to
3 a conclusion because they were trying to get a
4 scientific answer.

5 I don't think we need to do that in a
6 regulatory sense, but I think what is a benefit of
7 what we're doing is to say well, okay. How much
8 conservatism is there? Now we know we meet the
9 standard but there's always the person who says yes,
10 you met the standard, but it's only an order of
11 magnitude, and we know it could be much higher than
12 that. You know, you're at 1 millirem instead of 15
13 millirem, and we know we could go way above that, the
14 tails of the distributions. But in point of fact, a
15 1 millirem calculation from a conservative analysis
16 should be appropriate, and since it's probably
17 conservative by orders of magnitude, then that just
18 gives us a better gut feeling about the safety. And
19 I think that's the role that we're trying to play, is
20 to help with that gut feeling of safety regardless of
21 where the dose curves lay.

22 MEMBER HORNBERGER: In fairness to Milt
23 Levinson, perhaps I should point out that I think the
24 full text is something like "being off by six orders
25 of magnitude is not conservative, it's wrong." So

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it's not just being conservative is wrong.

2 DR. KOZAK: True enough.

3 MEMBER HORNBERGER: I think he mentions
4 the number of orders of magnitude.

5 DR. KOZAK: Yes.

6 MEMBER HORNBERGER: I know that the ACNW
7 for many years, I think, has pushed the NRC
8 performance assessment people to be as realistic as
9 they can possibly be. And I can remember after one of
10 our meetings where we recommended that to the NRC
11 staff. John Kessler pulled me aside and said no, no.
12 You have to be careful because after all, if you can
13 do it with a bounding analysis, and you don't have to
14 spend a lot of money confirming this, why worry?

15 DR. KOZAK: Yes.

16 MEMBER HORNBERGER: I do take it that your
17 presentation doesn't really disagree with John's point
18 of view, because all you're doing is saying that you
19 are interested in basically giving an idea of the
20 margin.

21 DR. KOZAK: Yes, that's right. No,
22 absolutely. I think the process that you DOE and NRC
23 are going through is appropriate, and we hope we can
24 supplement that with the information that we can
25 present without -- certainly without disagreeing with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the general concept of how to do it.

2 As I said earlier, the way PA is
3 structured, is that way for a reason. People have
4 found that it's the most effective way of doing it,
5 and most effective way of beginning to understand the
6 total system behavior. So no, I don't disagree with
7 what they're doing at all.

8 MEMBER HORNBERGER: Okay. Great. Well,
9 thanks very much. I think it was a very good morning,
10 and we're not too far past our schedule. What we're
11 going to do is break for one hour for lunch, and even
12 though our schedule has us starting at 2, we are going
13 to start at 2:15.

14 (Whereupon, the proceedings in the above-
15 entitled matter went off the record at 1:13 p.m. and
16 went back on the record at 2:17 p.m.)

17 MEMBER HORNSBERGER: On the record. We
18 are reconvening our meeting. If everyone would grab
19 a seat. We're missing some.

20 LAS VEGAS PARTICIPANT: We can't hear you.

21 MEMBER HORNSBERGER: Okay. Let's see.
22 Somebody can't hear us. Okay, now?

23 LAS VEGAS PARTICIPANT: Okay. We have you
24 now.

25 MEMBER HORNSBERGER: Okay. Good. Thank

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you. We're going to reconvene. We have reconvened.
2 We're moving on to our afternoon session now going
3 into the part where we have roundtable panel
4 discussion. We're first going to have comments from
5 our panel members and we'll go in the order here that
6 is on the schedule. So I'll ask Jim Davis if he wants
7 to summarize some of his thoughts for us.

8 DR. DAVIS: Okay. There were two main
9 things that I wanted to bring up and one already came
10 up in some of the other discussion which was what
11 seems to be a lack of consistency between the field
12 testing that seems to suggest that matrix diffusion
13 isn't important. I believe that's referring to the
14 work that was done at the sea wells. Is that correct?
15 I guess as kind of an outsider coming into this
16 process I'm surprised that there is still that level
17 of a lack of agreement between - maybe it's an
18 interpretation of - the field results and there seems
19 like there should be some focus on reaching agreement
20 about the meaning of that field test. So that was one
21 of my main reactions.

22 And then the other has been mentioned
23 several times as well which is the effect of chemistry
24 on retardation in the alluvium I think that DOE's
25 approach with respect to building a distribution of K_d

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 values has focused somewhat on the variability of the
2 porous medium in terms of its sorptive properties, but
3 has possibly not adequately accounted for the effect
4 of chemical variability on retardation. I think the
5 Center's program is closer to the mark in terms of
6 looking at that as a variable, but I also think that
7 that has a few key elements missing from it which are
8 looking at complete groundwater compositions including
9 the possible role of fulvic acids and also comparing
10 work with actual alluvial materials in comparison to
11 what their predictions are from their extracted model.
12 Those are the two key areas that I felt concern about
13 in terms of having confidence of where we are with the
14 performance assessment.

15 MEMBER HORNSBERGER: Thank you, Jim.
16 Let's see. Don, I believe, you're up. Do you have
17 some summary comments for us? Is Don there?

18 PARTICIPANT: Don's not back from lunch
19 yet.

20 MEMBER HORNSBERGER: Not back from lunch
21 yet. Okay. Dick, I'll next go to you.

22 DR. PARIZEK: We have some new graphs of
23 which probably need to be put up on the screen or
24 everybody has handouts?

25 MEMBER HORNSBERGER: I don't know.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Michelle, do you have them?

2 MICHELLE: Yes, we do.

3 MEMBER HORNSBERGER: Okay. They'll be up
4 in a second.

5 PARTICIPANT: And the handouts are in the
6 back.

7 DR. PARIZEK: There are some hard copies
8 provided. From a Board perspective, there are some
9 points here that appear in the Board's letter to the
10 Department and then other are observations which we
11 can make as part of this meetings, but first we would
12 say the field of laboratory observations analyses
13 presented by DOE and others suggest that the natural
14 system provides an effective area to migration of some
15 radionuclides over time periods that may be comparable
16 to the regulatory period. So clearly, that natural
17 barrier can be counted upon for many of the
18 radionuclides.

19 However, there are several key
20 hydrogeological features or processes that may
21 significantly affect fluid flow and radionuclides
22 transport are presently not well understood that are
23 constrained by limited or poor data or both. So this
24 is trying to improve on the understanding and reduce
25 uncertainty is obviously a Board concern. We always

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 carry this baggage with us in terms of our commission.

2 DOE often deems with on certain features
3 and processes by making conservative estimates of
4 their effects on the radionuclides transports. Such
5 conservatives tend to emphasize more rapid advective
6 transport processes. This is sort of a similar
7 statement as to what you heard from Frank Schwartz and
8 presenters from EPRI are stressing. More realistic
9 estimates could be to slower transport predictions for
10 some radionuclides.

11 There is also a possibility that some
12 other poorly understood processes or features may lead
13 to faster radionuclide transport. So it is important
14 that DOE develop a better fundamental understanding of
15 the overall behavior of the natural system. We feel
16 like the natural system to get full credit for it to
17 continue the science and technology program and
18 continue the research is our feeling.

19 There's examples on the next slide and one
20 where we could actually improve understanding has to
21 do with the large-scale hydraulic tests of major
22 faults. Basically, the sea well testing complex did
23 penetrate through faults but it's not necessarily
24 block bounding or a large fault and it's not at all
25 clear whether or not the major faults that are south

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of the footprint of the repository have an important
2 role in regional flow.

3 We heard from Jim Winterle's discussion
4 that there's obviously a steep gradient on the west
5 side of some of those faults so there's a damming
6 effect that the faults can play. On the other hand,
7 there could be a dual role that the fault could also
8 be a fast path. You could dam on one side and maybe
9 have a fast path on the other. So this is hanging
10 wall, footwall structural details at work. Some of
11 you all know Marybeth Gray's work on characterizing
12 faults and talking about the architecture and as a
13 result, there are probability/possibilities that are
14 not well known.

15 So the Board felt that there ought to be
16 some deliberate testing of some of the block bounding
17 faults. We get messages from the unsaturated zone in
18 pneumatic tests. You see the faults in exposure in
19 tunnels and so there is enhanced probability at least
20 at that field. The question is what does it do in the
21 saturated part of the system and we don't see a
22 program outside of the data to deal with that story.

23 There's also some indication of fast paths
24 on the Paintbrush Canyon fault and this is based on
25 some borehole data that's been reported upon by DOE.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 It gives you travel times that are in that 45 meter
2 per year rate which is pretty fast numbers and so that
3 draws attention to the fact that maybe faults can be
4 important to this whole process.

5 But could they turn the direction of flow
6 rates south? If it did, this would be a conceptual
7 model failure. The idea that Bradelhoffen (PH)
8 Conoco's (PH) discussion about can you evaluate ground
9 water models. Well, one thing you could do is miss
10 the mark by having the wrong conceptual model and it's
11 really important to make sure there's no way flow can
12 turn south on any of these major faults and that no
13 program forecasts show that southernly component.
14 They all kind of go southeastward and come south and
15 the alluvium then comes southwestward, but nobody has
16 that flow straight south. That would be conceptual
17 failure if in fact that does happen. The only way you
18 would know that, I think, is by the intentional
19 drilling program. Nye County has talked about the
20 intentions to do such a drilling.

21 This then leads to another discussion on
22 the saturated alluvium and the saturated alluvium in
23 the present modeling is two layers with, say,
24 effective porosity that's uniformly distributed in
25 each of those layers and then you do realizations and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you let the effective porosity numbers and the
2 conductivity numbers vary. Then you come up with your
3 probability predictions that you get out of that.

4 But the likelihood of the alluvium being
5 two layer alluvium is not too realistic. You saw from
6 one of the presentations of just the bulk mineralogy
7 and then the clay-mineralogy abundances that there is
8 some sort of variation that's somewhat systematic and
9 the deeper you went, the more different it looked than
10 the shallower part, but the Washburn well and Jason
11 well both had similar appearances up near the surface.

12 You would argue that the alluvium has a
13 complicated history of formation and if you just take
14 the last 10,000 years in the desert, we see alluvial
15 fans. We see soils and pelesols of different ages
16 and that complexity is all maybe up in the shallow
17 FortyMile Canyon exposure level, something in that
18 order. But there's bound to be complexity at depth
19 and with the complexity, it could channelized flow.
20 It could be lenses. It's not clear.

21 The Nye County shows cross sections with
22 a channel in the alluvium on the one hand, but that
23 may not have continuity going up the wash or may have.
24 It may make a big difference in terms of really the
25 way in which water could travel down through the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 alluvium. If there are clay-enriched zones whether
2 the palesols or not, that has a blocking effect on
3 flow and you could have sandwich flow caught
4 underneath clay layers, for instance, for a longer
5 distance of travel versus mixing in the vertical.

6 The architectural style of the alluvium is
7 quite important and the tunnel path length discussion
8 of one to ten kilometers versus two to ten, the one is
9 pretty short. That's a big difference to performance.
10 You would like to make sure that you understand where
11 the saturated alluvium bedrock contact comes in and
12 Nye County is still working on that. We heard that
13 they propose to physics as well to help pin that down.
14 That's kind of an important variable.

15 Then the matrix diffusion is another
16 category. In the bed rock, there's clearly work to be
17 done to get more credit for that. We heard this as
18 part of the EPRI presentation in terms of this flow
19 interval spacing, but also what does that do in
20 treating between those flow intervals where you may
21 have matrix effects. The whole question of blockage
22 or coating on surfaces we don't know that much about
23 whether they are coated and prevent that matrix
24 diffusion in some cases or not.

25 When we look at the sonic core in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 FortyMile Wash area, clearly some of the class were
2 decomposed in rock. I purposely asked that question
3 to make sure that that stuff wouldn't survive rotary
4 drilling. It would have broken up because you can
5 peel that apart like an onion skin type thing. Rotary
6 drilling would have broken that apart. So what
7 fragments of that type problem would even have a
8 diffusion benefit.

9 Then we were corrected by saying well
10 maybe you should have gotten it out of the K_d s
11 already. K_d data probably had time enough to respond
12 to that and whether the matrix effects are in or are
13 out. I guess the only way you will know that is a
14 long term tracer test.

15 I raised a question about that recycling
16 of water for the sea well testing complex. It's about
17 six or seven months later since that slug of water was
18 put in there and I was very pleased to hear that the
19 program was picking on doing something with the
20 science and technology part of it.

21 Maybe that water went down in the
22 fractured, unsaturated tufts and you've lost it. On
23 the other hand, it's worth looking for. That's one of
24 the few places where some signal has been put in the
25 aquifer that's quite distinct. Most of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 geochemistry that we understand is coming out of
2 boreholes that were not dedicated to geochemistry.
3 They are boreholes open to different depths. They
4 were boreholes that often might not have been cleaned
5 out properly and for the geochemistry point of view,
6 you'd like to have dedicated boreholes which is what
7 my county was doing when it was doing the West Bay
8 construction.

9 West Bay gives you this very discrete
10 sampling of heads and chemistry, but in more recently
11 drilling, that hasn't happened. The money hasn't been
12 there to do the West Bay installations and so right
13 away, you haven't quite been able to get to the
14 discrete chemistry out of it.

15 But hearing what the alluvium was doing
16 and the chemistry of the alluvium on the uranium
17 tailings study, the first presentation yesterday,
18 that's incredibly important work. That tells me that
19 the likelihood of having a uniform chemistry in 40Mile
20 Wash and valley fill sentiments is not likely.

21 The idea that you might sample it from all
22 the way down Amargosa Farms all the way up the Wash
23 and you use that in part of your modeling as Jim has
24 pointed out is not a very smart way to do that. You
25 rather maybe know the chemistry better in the region

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 where you're sampling for that sort of forecast. So
2 the chemistry story is bound to be very important.

3 Why? Because we have 40Mile Wash as a
4 episodic run-off from time to time now. We surely
5 have that during the pluvials, the chemistry
6 signatures that you see and the water masses that have
7 been able to be put together by this Center and by the
8 USGS and by the Program basically chose some distinct
9 chemistries and that's been quite important to this
10 whole process. So we say, yeah, chemistry is kind of
11 an important part of this whole story.

12 As far as colloids, the unsaturated zone
13 colloid story, is frustrating as it's very hard to
14 make sense of experiments that have been attempted in
15 the unsaturated zone. Right away, there has been
16 efforts to do something in the Calico Hills/Busted
17 Butte experiments. Then in that area, it was
18 difficult to capture the microspheres that we release
19 there.

20 On the other hand, it's not clear that the
21 water samples that were put in from the cross-drift
22 and the ESF tunnel, for instance, did anybody ever
23 sample the waters between those two for colloids? You
24 are putting water in the one and looking down below,
25 but gosh, I would think that you maybe had looked for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 colloids. Well, you have a dusty tunnel up above and
2 maybe it's an easy experiment to conduct. But when
3 you run those kind of experiments on Niche 1, for
4 instance, and you put simulated rainfall up on top,
5 you ought to be able to see whether or not colloids
6 showed up in that water.

7 Colloid transport in the saturated zone is
8 critical for the tons of colloids which the waste form
9 is going to produce when it starts to come unraveled.
10 Much of it may be filtered. It may be caught up in
11 the drift shadow and elsewhere in which case you don't
12 worry about it in the unsaturated zone. But then when
13 you get down to the saturated zone, colloid transport
14 becomes an issue again, both in the tufts as well as
15 in the alluvium as it was pointed out.

16 The on updating the site scale model, we
17 were pleased to hear yesterday that Bill Arnold was
18 saying they were looking at reevaluating whether or
19 not it makes a difference to use the old calibrated
20 USGS three-layer model with a grate orientation that's
21 different from the site scale model and why not go
22 with the 15-layer model which has been on the table
23 with USGS producing that and that's a much better
24 model. I think it can be anywhere from 10 to maybe 50
25 percent of the flow of the water in a regional model

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 passes through the site scale model and the fluxes of
2 the borders is not too well known.

3 They can be in and out and in reverse
4 directions and the quantities, but maybe that makes a
5 big difference to how the site scale model would
6 predict in a flow in transport. So we think that
7 needs to be done and we are pleased to hear that it's
8 on the schedule for the program.

9 Then for the use of natural analogs,
10 obviously we feel very strongly about things like Pena
11 Blanca experiments in terms of just how you might
12 model and be able to deal with essentially this
13 uranium deposit and what moved from it and where the
14 radionuclides have gone in the unsaturated zone
15 because it's step tufts and it's step carbonates at
16 the desert. It is somewhat similar in many respects
17 for what we see for Yucca Mountain, but the analog
18 value we heard from Jim in terms of the alluvium it's
19 in the analog report that the program intends to use
20 the uranium information. It wasn't exactly clear how
21 it would be used. For my way of thinking, you showed
22 us one good way to use and make sure the chemistry is
23 well understood and characterized if you want to get
24 predictive value out of it. The difficulties of a few
25 K_d s, for instance, may be systematic understanding and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 how the massive chemistry that water varies is kind of
2 an important message for me to take home.

3 Then as far as -- That's really the next
4 slide. It talks about this aqueous geochemical
5 heterogeneity system that we've been talking about.
6 This business of the flow paths, we heard from Jim
7 Linley that by putting a high permeability feature in
8 the 40Mile Wash area, it helped the model about
9 whether or not there's structure down there and
10 there's a fault or what's down there.

11 But from one point of view, it's good
12 enough for government. If it works, it works. That
13 would be one thing. But from a Board point of view,
14 understanding why high permeability down there might
15 be a geological feature or not is important. Then you
16 feel better about knowing what caused it or is it
17 really there? So it seems to me that maybe
18 investigating some of the assumptions that went into
19 the ruling more or less, for example, would be of some
20 value. He indicated first he had to make an
21 adjustments, but it's amazing the fit that he got with
22 the model he runs and that did have a major effect on
23 the patterns of flow.

24 So overall observations, it was an
25 informative meeting for me. Very worthwhile and we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 hope comments from the West and the tiny differences
2 we see there have been very helpful. We think there's
3 a lot going on in the program. We could talk about
4 all the progress we've seen on the Board that the DOE
5 has made in so many different issues and areas of
6 study.

7 It's a question of what's left to reduce
8 uncertainty and heighten understanding and have a
9 sufficient science of program going in the future so
10 that by the time the license application is coming for
11 review and before it comes up for all the arguments,
12 the science gets better and better and better because
13 that's what is going to build confidence, I think,
14 with the technical community and the public as I see
15 it. So we're still looking for understanding of the
16 science, basic understanding of the processes and the
17 features that are out there even if it's not necessary
18 from the point of view of compliance, but it does add,
19 I think, to everybody's confidence that we're looking
20 for confidence building incredibility if you want to
21 call it that.

22 MEMBER HORNSBERGER: Good. Thanks very
23 much, Dick. Ines.

24 DR. TRIAY: I also thought that this was
25 an extremely good meeting in terms of trying to zero

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in on the issues that still remain is my opinion when
2 one looks actually at what has been presented here for
3 the last two days. I would like to make comments on
4 two particular topics. One of them is sorption and the
5 other one is colloids.

6 In sorption, I believe that it would be a
7 good idea to try to concentrate our efforts in trying
8 to address this main issue of can sorption
9 coefficients be utilized to appropriately describe
10 retardation of radionuclides. I would like to further
11 say that it appears to me from solubility data that
12 was presented from sorption data that was presented
13 from other deliberations that were made in terms of
14 what are all the barriers that can prevent the
15 radionuclides from mitigating that from the
16 perspective of whether sorption coefficients can be
17 used to appropriately describe radionuclide
18 retardation, we're down to two elements, neptunium and
19 uranium and whatever isotopes of uranium you want to
20 consider, but from the chemical behavior, neptunium
21 and uranium. I think that it would be good to look at
22 that data that are available for uranium and neptunium
23 and see whether we can make some kind of correlation
24 in terms of available data for neptunium and uranium
25 and the data that exists for site-specific conditions

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and try to come to some kind of resolution of that
2 question or at least try to understand what would be
3 the path forward to resolve that type of question.

4 I don't think that, in my opinion, is not
5 necessarily for americium or plutonium based on
6 solubility considerations and the huge sorption
7 capacity that the minerals at Yucca Mountain do have
8 for these elements. So it appears to me -- Oh, and
9 when we talk about technetium or iodine, I think that
10 essentially there we are at a K_d of zero. Right? I
11 mean like what is delegated by Dr. Davis. There's no
12 sense in going to ask that question because it's an
13 irrelevant question. So I think we're down to those
14 two elements and I think that we need to focus on how
15 could that question be addressed based on available
16 data both in the literature with surface complexation
17 models versus site-specific data and try to understand
18 (1) where are we and (2) what needs to be done in
19 order to close that gap or answer that question.

20 The second point that I would like to make
21 refers to colloids. When one talks about colloids, I
22 think that the only recommendation or thought that I
23 had with respect to how can we, if you will, bound
24 this problem is I was wondering whether it is possible
25 to use some of the information that we have with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 respect to water chemistry to try to bound that type
2 of concentration of colloids that could exist in order
3 to carry those radionuclids through a system, whether
4 it's an natural system or they introduce radionuclides
5 when the waste gets a disposition into the repository.

6 So those are my two thoughts. I think
7 that the only other thing that I would like to point
8 out is that I really think that this regional flow of
9 conceptual models that were being talked about by Nye
10 County ought to be commended. I think that it is
11 important that we have a regional model in order to
12 really prove to the public and scientific community
13 that we really understand what happens from a regional
14 perspective. I think that that is a very important
15 effort that ought to be endorsed.

16 MEMBER HORNSBERGER: Jim, did you have a
17 quick reaction? I saw your eyebrows flinch when Ines
18 -

19 DR. DAVIS: No, it's not a reaction. She
20 just reminded me. There have been a couple times when
21 I've wondered whether some of these unknown things
22 could combine to create something that isn't being
23 considered. So, for example, since we don't
24 understand colloidal transport very well in the
25 unsaturated zone, I'm not really sure whether this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 would make a difference to the arrival of neptunium in
2 the saturated zone, but if americium was being
3 transported relatively quickly through the unsaturated
4 zone to the water table by colloidal transport and
5 then that gets a lot of the americium there and then
6 it's as in the Ks to produce the neptunium whether
7 that would make the neptunium arrive faster down
8 gradient, I'm not sure. But it seems that you have
9 two of these uncertain things possibly combining.
10 Just a comment.

11 MEMBER HORNSBERGER: Let's see. Las
12 Vegas. Is Don back yet? Do we have people from Las
13 Vegas?

14 DR. SHETTEL: Yes.

15 MEMBER HORNSBERGER: Don, would you like
16 to give us your summary comments?

17 DR. SHETTEL: Certainly. I think overall
18 this has been a very good meeting. Several talks have
19 been very useful, especially the first one by Jim
20 Davis. Now I'm going to start some very specific
21 comments.

22 First, concerning the vadose unsaturated
23 zone, I don't believe the DOE has any substantive
24 experiments that are appropriate for the unsaturated
25 zone. They had used J-13 water instead of using pore

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 water which would be more appropriate, but we still
2 don't actually have any samples for analysis of flow
3 in fracture water. So I don't see how we can even do
4 any sorption experiments that are relevant to the
5 unsaturated zone until we have some of this
6 information. The experiments that have been done have
7 been under saturated conditions and that just adds to
8 the uncertainty in the unsaturated zone.

9 Regarding matrix diffusion, flows have
10 been injected as has been stated at 100-1,000 or more
11 times the natural rate. If these are into dead end
12 fractures systems or whatever, then some of these
13 injections may have been pressurized. I don't have
14 access to the data so I can't say for sure, but it
15 seems like a possibility that some of this could have
16 been pressurized injections. This would be totally
17 unrealistic. I think the conclusion that one could
18 make from all this is that DOE has nothing in the
19 unsaturated zone for sorption, nothing that is that is
20 credible and defensible.

21 Regarding the saturated zone, Paul
22 Bertetti's talk was very interesting. It shows a very
23 systematic approach to sorption which I think the DOE
24 could learn from. However, the state has been saying
25 since '80s that J-13 water has been overused in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 experiments in Yucca Mountain so therefore it's
2 somewhat ironic that the Center has done their
3 sorption experiments not in J-13 water. I think this
4 causes some test in data on their results and
5 applications to performance assessment.

6 Regarding DOE's experiments in the
7 saturated zone in sorption, at least they have the
8 right water, J-13, although this doesn't necessarily
9 bet on the water compositions in the saturated zone.
10 They have not done any experiments at CO₂ pressures
11 that are above atmospheric. They have assumed
12 sorption without actually proving that they had
13 sorption in those experiments.

14 I could make some comments on colloids
15 here, but I think that's -- Well, they didn't
16 qualitative models on colloids and a lot more work
17 needs to be done on colloids to quantify those models.
18 There are organic acids no doubt in the saturated
19 zone. This may be at small levels, but the
20 radionuclides that may eventually make it into the
21 saturated zone will be at very small levels too. So
22 there's a possibility of complexing there. These
23 models for sorption don't always include all the
24 possible ligands that can contribute to solubility.

25 So overall, I would say there is better

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 data for the saturated zone versus practically nothing
2 for the unsaturated zone. But even the data that's
3 available for the saturated zone is suspect and I
4 think this raises a question of why are we even going
5 to licensing at this point. You know really that is
6 credible and defensive about radionuclide transport,
7 sorption, retardation in the entire Yucca Mountain
8 system. That's all I have to say right now.

9 MEMBER HORNSBERGER: Thanks very much,
10 Don. Jim Clark, do you have any summary comments that
11 you would like to offer?

12 MEMBER CLARKE: Well, is it okay to admit
13 that I'm not a geologist?

14 MEMBER HORNSBERGER: Not everyone can be
15 part of that.

16 MEMBER CLARKE: For that reason, I have a
17 real hard time with these time horizons and for me,
18 the elephant in the room has always been the daunting
19 task of trying to predict the performance of something
20 that we don't have a lot of experience with over
21 hundreds to thousands to tens of thousands to hundreds
22 of thousands of years.

23 The research that I do is focused on near-
24 surface containment systems where you're only looking
25 at shorter time horizons, but they greatly exceed our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 experience base as well. And for that reason, it
2 strikes me that the work that's being done on risk
3 insights and risk informing and building confidence in
4 the areas where uncertainties are known and processes
5 are going to be totally understood, but understood to
6 some extent it is just very important.

7 I'm just using that tool to increase our
8 understanding and build confidence. So I would
9 greatly encourage continued use of that and really
10 recommend that that tool be used for other system
11 components as well to the extent that the NRC can do
12 that.

13 I guess I'm still a little confused about
14 matrix diffusion on the unsaturated zone, the vadose
15 zone. It seems like it's important to one group and
16 not being used at all by another group and I'm not
17 sure. Yet everybody seemed to seem that it's quite
18 beneficial as well so there may be looking at that a
19 little harder. Thank you.

20 MEMBER HORNSBERGER: Thanks, Jim. Any
21 second level comments from any of our panel in
22 reaction to comments made by other panel members?
23 Okay. Committee members? Allen.

24 MEMBER CROFF: My preference would be if
25 Jim's not a geologist, I'm further out away from the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 center of geology than he is. But after listening to
2 all this, I came away, I think, with two fairly strong
3 messages. One, to paraphrase James Carville, "it's
4 the neptunium stupid." That's really where the action
5 is at for reasons already stated by a number of
6 speakers. I won't reiterate them, but the importance
7 of understanding that element and how it behaves.

8 Where was I going with this? I forgot my
9 second. I got so wrapped up in neptunium I've
10 forgotten my second point here. You fed me too much
11 lunch.

12 MEMBER HORNSBERGER: We'll come back to
13 you.

14 MEMBER CROFF: If you don't come back to
15 me, I'll remember it. I'm sorry.

16 MEMBER HORNSBERGER: We want to take the
17 pressure off you. Then you'll remember. Michael?

18 MEMBER RYAN: -

19 MEMBER HORNSBERGER: Oh, he has it. I
20 knew it would happen.

21 MEMBER CROFF: I'm sorry. It's the
22 importance of chemistry, the subsurface chemistry and
23 its apparently very profound effect. I guess what
24 surprised me is that it apparently hasn't been taken
25 into account before. I'm a chemical engineer, but I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 would have thought it was fairly obvious that the
2 chemistry of the groundwater and these complexing
3 agents will certainly affect sorption, solubility and
4 formation of colloids and all sorts of other things,
5 but I think the clear need to do that and the surprise
6 that it hasn't been done. That was my second point.
7 Thanks.

8 MEMBER HORNSBERGER: Mike.

9 MEMBER RYAN: First, John Garrick,
10 chairman of the ACNW, is not here and I know he would
11 want to thank all of the participants and panel
12 members. I know George will do this anyway, but let
13 me offer his thanks to you for giving up your time and
14 working hard to make this a really interesting and
15 helpful working group meeting. I guess I came at this
16 from the health physicist rather than geologist
17 perspective although sitting next to George, I'll
18 probably end up with some sort of geologist
19 certificate at the end of the day.

20 But from the risk perspective, I think the
21 work that is going on in every corner to do the risk
22 insights work whether it's what Tim McCartin presented
23 from the TPA or what's going on in the TSPA and also
24 what's happening in EPRI in terms of a third
25 independent view of risk insight, it's helpful and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 important and, I think, in a number of ways. One is
2 whether you call it a margin of safety or whether you
3 call it a conservatism or how you look at it, some
4 prediction of reality and some prediction of a model
5 and try and assess where's the truth in that and gain
6 confidence in that process. I think that ought to
7 continue.

8 I think it also serves a second function
9 that it can help inform the science in terms of where
10 do we really focus our energy and expertise and
11 resources to answer the critical questions when we may
12 not luxury of so much margin or so much separation
13 from where we think compliance is first or from where
14 confidence is. I appreciate Dr. Parizek's comments on
15 recognizing compliance and confidence as two
16 complimentary, but different endpoints. I think
17 that's an important observation to make. So when we
18 move forward with new work or additional work or
19 complimentary work at any point in the process, I
20 think keeping that structure in mind and those tools
21 in mind to use the help and the thinking is useful.

22 A third dimension to me is in response to
23 what the representatives from Nye County talked about.
24 That is that the confidence building process can
25 certainly aid some of the points that they raise as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 global and in terms of communicating and in terms of
2 having a risk tool. So I think those risk tools will
3 have hopefully as time goes on a bigger dimension
4 other than just the review or a partial tool as a
5 review of the license application. I think that's an
6 important thing we heard today that's growing in
7 importance. That's really my main comment.

8 CHAIRMAN HORNSBERGER: Thank you. Ruth.

9 MEMBER WEINER: I'm not a geologist and
10 I'm not an engineer either. So my perspective like
11 Dr. Croff's is pretty much that of a chemist. I am
12 very interested to see the role that the chemistry
13 plays, that the interaction of the compounds with the
14 substances or surfaces they can or don't or will or
15 won't absorb on. I think that this is an interaction
16 I, too, am surprised that it is a little late in the
17 game to be studying this, but the importance of this
18 really came home to me in some of these presentations.

19 The second thing is that I think in
20 structuring inputs to performance assessment we have
21 to be very careful to make sure that the distributions
22 reflect what we know and aren't just a convenient kind
23 of distribution to make. Having done some performance
24 assessment, I have an idea of how complex it is. I
25 want to commend Tim McCartin for his presentation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 which put performance assessment in the context in
2 which it can be used. I think this was a very
3 important role.

4 I also hope that the people who are
5 panelists take back to whatever their constituency is
6 the role of risk insights because we've been
7 struggling with what does risk insight mean. I think
8 Tim's presentation was very clear on what it meant to
9 performance and to performance assessment. That was
10 very, very good.

11 I do agree that we need to look at the
12 role of colloids. We need to study what happens with
13 colloids. Finally, I was so impressed with Nye
14 County's sonic coring. That showed some stuff that I
15 really didn't think you could get out of a core. But
16 that was really a very interesting presentation and
17 very revealing. So those are my thoughts. A lot of
18 other people said things that I agree with.

19 CHAIRMAN HORNSBERGER: Thank you, Ruth.
20 Let me just make a few comments then and I certainly
21 will open it back up for further discussion by a lot
22 of people. First of all, I was struck in listening to
23 Dick Parizek point out some of the perspectives from
24 the Board on the basis of, of course, what the NWTRB's
25 role is. What struck me was that the ACNW, of course,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 has quite a different role.

2 I probably should just point that out for
3 the group just to make it clear. The ACNW, of course,
4 we are to advise the Commission and if you think about
5 what the role of the NRC is, well, Tim McCartin
6 partially pointed it out and also Matt Kozak had the
7 EPA regulation, the reasonable expectation argument,
8 and the ACNW basically, our role here, is to try to
9 advise the Commission and the NRC Staff on how they
10 might review a license application in terms of the
11 regulations.

12 The ACNW, of course, our charter, we are
13 not driven by compliance, certainly not by blind
14 compliance. That's not our role. Our role is
15 certainly not to ignore science. But I think to just
16 characterize how our role is different from other
17 bodies is that the NRC is faced with reviewing a
18 license application and making a decision on whether
19 the criterion of reasonable expectation has been met.

20 In Tim McCartin's presentation, he pointed
21 out that for this particular working group meeting
22 focused on the geosphere, the way this enters is in
23 the multiple barriers idea that the geosphere is -- It
24 doesn't suffice to say that we meet the 15 millirem
25 standard because we have an engineered package that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 will persist for tens of thousands of years. The part
2 of the regulation requires that the geosphere provide
3 a significant barrier.

4 The focus, our question, here has been
5 "Well, all right. Where do we stand in terms of the
6 data, the models, the analysis that can contribute to
7 a judgment that, in fact, the geosphere does play a
8 significant role in retarding the potential migration
9 of radionuclides away from a repository?" I think
10 that what we learned is -- We certainly learned a
11 great deal. We've heard some of the presentations.
12 Some of us had seen some of the material before from
13 the Department of Energy in their analysis.

14 We've seen how the Center has treated some
15 of the groundwater modeling and the geochemistry in
16 support of the NRC's TPA model. Again the TPA model
17 is not aimed at building a safety case, but in fact at
18 gaining insights that will be valuable for the NRC
19 Staff in their evaluation of a license application
20 assuming that the Department does submit that license
21 application.

22 I don't need to go over some of the
23 material that people have pointed to. I think that
24 there certainly are remaining uncertainties. There is
25 certainly work that can be done in an attempt to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reduce those uncertainties. I think that Jim Clarke
2 pointed out or started to point out that continuing
3 work to build confidence, to learn about how to build
4 confidence as our horizons go well beyond human
5 experience, will be important.

6 This will be important as a continuing
7 effort even if the license application does come in
8 and get docketed and even if it is approved. There
9 will be a need for continued work to basically build
10 confidence in our knowledge of the hydrogeology and
11 the geochemistry of the site.

12 If it turns out that other people don't
13 want to weigh in, I certainly do want to make sure
14 that I offer my personal thanks to, first of all, the
15 panelists. I definitely appreciate everybody's taking
16 the time out of busy schedules to come here and help
17 us out. I also appreciate the participation of all of
18 the people who have made presentations, Nye County,
19 the Department of Energy, NRC Staff. Again, I realize
20 that it takes effort for people to support our working
21 group meeting and the ACNW greatly appreciates that
22 involvement. So --

23 MEMBER WEINER: One more time.

24 CHAIRMAN HORNSBERGER: Absolutely please.

25 It's open.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WEINER: I, too, forgot one point
2 I wanted to make. I wanted to thank Matt Kozak for
3 clarifying what we all struggle with which is the
4 question of how conservative is too conservative. How
5 conservative is a bounding case? What is the role of
6 a bounding case and what is the role of realization?
7 I think that's something that is an overarching set of
8 principles we have to keep in mind. But I also want
9 to thank everybody on the panel. It was great.

10 CHAIRMAN HORNSBERGER: Other comments?
11 Neil, I haven't give you nearly either enough credit
12 for organizing this nor a chance to contribute fully.
13 I typically would have asked you more frequently for
14 your comments and questions, but managing a time with
15 a fairly large group on the panel, I've tended to
16 ignore you. But here's a good opportunity for you to
17 weigh in should you want to.

18 MR. COLEMAN: Yes, sir. One thing about
19 colloids, and I'm going to say that I'm not a
20 geochemist but as a hydrologist, I found the study of
21 places that have had contaminant transport that it's
22 much easier to study a site such as Hanford site where
23 unfortunately many contaminants were released. The
24 flow system at Hanford is known to a great detail and
25 might even bear their aspects of the hydrology. The

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 art is well understood as DOE might hope. But the
2 unsaturated zone hydrology there is fairly well known.

3 I would just say with respect to Colloidal
4 transport of transuranics here's where analog studies
5 may have a very special use because is there any place
6 in the world where plutonium or other transuranics
7 have been seen to migrate significant distances under
8 natural conditions without a 1.3 megaton assist. It's
9 a fairly simple test. Under the great variety of
10 geochemical and hydrological conditions anywhere in
11 the world, is this known? So I think analog studies
12 have a role there. That's all I would add.

13 CHAIRMAN HORNSBERGER: Dick.

14 DR. PARIZEK: Yes. Yesterday I asked Tim
15 McCartin whether NRC has remained the same. You know
16 they had certain rules and regulations that go way
17 back in the early days and it's almost like nothing
18 has changed since that time, but obviously a lot has
19 changed. I think the idea of this risk-based
20 analysis. Perhaps for the first time, I may have
21 heard that from Tim and others would be five or six
22 years ago, something like that, but the clarity of
23 what's intended and how to deal with this was probably
24 best presented today than it's ever been. So if
25 you've heard earlier versions or early insights, it's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 come a long way.

2 There wasn't a standard, right? The EPA
3 didn't issue its standard until somewhat recently. So
4 if you think through this time period, a lot has
5 happened from an NRC perspective. I think there would
6 be other comments you might want to make about "Well,
7 what else is new in NRC" besides the work that's being
8 done on ability so you can make your forecast so that
9 you can really review someone else's material when it
10 finally comes in.

11 There's another aspect of this. I didn't
12 comment on flow line sampling. Right now, there's a
13 flow line model and there is chemistry in the flow
14 line model. There is the model predictions in the
15 flow line model. And of all of this, I would suggest
16 that the flow line model is more or less like that.

17 Now is the time to maybe go out and drill
18 out the flow line model in order to look for the freak
19 mixing and for the isotopic composition of the waters
20 and so on to find out if you in fact can get closer to
21 so-called validity that flow line model, pieces of it,
22 the part of that that's quite important and maybe it
23 does go southeast and south. I just want to make sure
24 it doesn't go straight south in which case we have a
25 conceptual problem here. I raise that point.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 But the flow line model might address the
2 point of these 40 meter per year washes that has been
3 talked about. There are a few places where the data
4 seems to support that. Is that real? And then when
5 you talk about travel of a couple hundred years if
6 you're just plain old water going down through to the
7 cup (PH) compliance boundary, that seems like that's
8 a little bit too fast.

9 From a geological point of view, we look
10 at the rocks. We look at the alluvium. We crawl
11 around there and say "I don't think water goes that
12 fast through this system. Am I off?" And I look at
13 all of the things, maybe the conservatisms, that are
14 not definite in the modeling and I said "I don't think
15 it can go that fast and some the radionuclides can't
16 go that fast either."

17 But you want to build some understanding
18 that maybe 100 years, 200 years, is not realistic and
19 although the runs show it, the combination of
20 variables that make that run come out that way may not
21 be realistic at all in terms of this other viewing of
22 it. That were my feelings asking Tim on that matrix
23 table "How do you explain all of that to someone?"
24 And can we explain away the things that aren't
25 realistic. The run that was 100 years, I can't too

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 excited about that, but I think we will throw it out
2 and say "I don't think that's credible."

3 It's almost like bounding calculations.
4 It's almost as bad as that. So I'll take 100 or 1,000
5 years on it. I don't want to take 100 or 1,000 on the
6 other. Can you throw some of those out on the basis
7 that it's not a reasonable combination although the
8 computer gave you that mix and you can't throw it out
9 exactly.

10 But maybe that's the correct one. Maybe
11 that's the flow in the system and how do we then look
12 to see if that's the weak link the chain and that's
13 not an easy thing to do. But when it gets to 200
14 years, I want to say "Can I understand that? Tim was
15 telling us to do that. Look at that. They would do
16 that and say this is not possible because look at all
17 the things that have to happen to have that come out
18 that way." Even though it might be lost in the
19 computer, I don't know what quite combination went in
20 there to give me that forecast, but that's the kind of
21 analysis that I would be inclined to want to make.

22 And that's beyond then the TSPA thing.
23 It's the safety assessment or the safety case, right?
24 And the program has to make a safety case for the
25 general well-being of the public, the people who can't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 understand the models necessarily. Their eyeballs
2 roll back in their head and they look at the
3 mathematics of it and it's very complicated stuff.
4 You're looking for something else that you can deal
5 with that has some reality in people's opinion.

6 So how do you build safety case with
7 independent lines of evidence? The Board has said use
8 independent lines of evidence that add credibility to
9 the forecast. We use analogs and we like to see all
10 you can get out of analogs, not just sprinkling them
11 in the report, but the idea of the analogs of this
12 uranium tailings pile story, there's some really meaty
13 stuff there and there is the analog value that we
14 would maybe get out of that sort of a study at that
15 level of detail. What you should now go do in the
16 groundwater chemistry characteristic to really get the
17 full value out of that message that comes out of that.
18 Even though it's a different setting, there's usual
19 data there. That's what I get from this sort of
20 story. I found it a very useful meeting.

21 CHAIRMAN HORNSBERGER: Okay. Good. Dick,
22 actually I was going to ask you if you or others on
23 the Board have looked at the hydrofacies, the data
24 that go into the hydrofacies we hear about from DOE
25 and whether or not those data are sufficient to at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 least give you a warm feeling about the water not
2 going directly south.

3 DR. PARIZEK: You look at all of the
4 different combinations of information, the most recent
5 of which those fixing models, each of which takes the
6 general chemistry and sort of sees whether the
7 pathways make sense so that rocks with the warmest,
8 most have been in. I keep looking for some kind of
9 unique thing that ought to have and then I can look
10 for pollution dispersion. That's sort of what the C-
11 well testing might be. You dump a lot of water to
12 given discrete points. At least, the points is where
13 maybe that game can be played. I'm pleased to see
14 that the program is picking maybe on doing something
15 with that.

16 But to chemistry, the background work that
17 was done over the years is kind of gurdy chemistry in
18 a sense. A borehole was opened to different horizons
19 that was mixing between the boreholes and if you talk
20 to people and the survey is out, you can say that some
21 of these holes are not the best, but they did what
22 they could do with the data they had and carried it as
23 far as they could. So you have these patterns of flow
24 which is consistent with rock-work chemistry and our
25 action stuff. They put the isotopic data on there.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 All that's giving you now this flow line
2 model which is chemistry with an isotopic point of
3 view and from a model forecast point of view and now's
4 the time to say "Well, can we independently go and
5 test it?" We've already tested it and used up all the
6 data to do that. What new data are there? Maybe
7 that's where this speed drilling could be done to be
8 confident that this flow line is in fact the flow line
9 that you're dealing with.

10 To add the Carbon-14 in the story like
11 that, how does this -- If you knew the young water as
12 people have covertly pointed, then you could tell how
13 old the water was? There's only young water there and
14 it assumes that is if you mix it, then you come up
15 with some kind of other anomaly. But find the young
16 water and then you'll know how old the old water might
17 really be.

18 Or if there is no young water, that would
19 be good news. Right? But there seems to be young
20 water in the system right underneath the footprint as
21 well as in the FortyMile Wash and elsewhere. So where
22 does the young water come from and that's part of the
23 story you try to struggle with.

24 So the chemistry has come to a
25 sophisticated level but there are experiments that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 people in the program would like to run I think to
2 clean up their understanding and now maybe is a good
3 time to do because you could do discrete big tests of
4 critical areas in order to test these hypotheses.
5 That's maybe the science and technology program
6 funding. I'm not sure where the money would come
7 from. There's always a possibility that no money
8 would come from there. I would argue that in order to
9 have this program develop the credibility it needs to
10 go forward, survive all of the tests, the debates and
11 all of a sudden, the community. Anything to
12 strengthen the understanding of a complicated system
13 is helpful because who said "When you go in the field,
14 this is huge place." But on the little plot and you
15 get this cluster of data when you have hundreds of
16 acres in the area. But when you get in the field
17 there's this big territory so there's an awful lot of
18 stuff in between where you don't quite know what's in
19 there.

20 The groundwater model has something in
21 every box. Every box is full with some kind of rock
22 that that may or may not exist there, some hydrologic
23 properties which may not be correct but they are in
24 the box. Every little box has one, but everyone can
25 vary them. Then you start playing games with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 variation and you wonder "Well, I wonder how this
2 outcome finally came out. Do I feel good about this?"
3 And people ask me. I feel a lot better today than I
4 would have felt some years back.

5 But the multi-layered models are a lot
6 better than a three-layered model. Right? When you
7 go back through time and realize that progress has
8 been made, you get the full value of it. Even if you
9 don't want to do that for the performance assessment,
10 you need this for the Nitroni (PH) perspective in
11 Clark County and everybody else who wants to use the
12 models for other reasons. But the models that exist
13 there now won't predict what level change in Devil's
14 Hole to 1.2 feet or something which kills pupfish or
15 something. Right?

16 So I mean you can't get that good on that
17 regional model, but you could do little subset models
18 which need the regional model for strength. That's why
19 this ought to be a moving model system out there that
20 you have to keep going for all the different reasons
21 that need to be made on the land in that area and the
22 water resources of that area.

23 And it's in conflict. You draw the water
24 and the water has haddock and springs and pupfish and
25 the other and it was a contradiction. And every drop

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of water in the desert comes from somewhere and you
2 take a drop from one place and the system tells you
3 about that. That's what's going to happen here.

4 CHAIRMAN HORNSBERGER: That's right.
5 Other comments? You know you indicated, Dick, that
6 ideally of course what we would have is some unique
7 signature that originated in the Yucca Mountain
8 vicinity that you could then trace and there probably
9 isn't such a thing because even the rare earth, I
10 think, would probably not be unique in any sense,
11 would they?

12 DR. PARIZEK: Programs used to look for
13 signatures like that. The only thing is what you put
14 in yourself other than living 200 years. Two hundred
15 years won't do a thing in terms of putting the
16 repository in. You're not going to see anything in
17 200 years necessarily.

18 CHAIRMAN HORNSBERGER: We hope not.

19 DR. PARIZEK: So I don't where those
20 signatures would come from, but we keep thinking about
21 where would you find them. For a while, it would be
22 the Amargosa River coming out of the Beatty area how
23 to have some distinct chemistry and then it goes into
24 the Amargosa Desert and releases a plume, but it does
25 run around the side somewhere. So there are some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 patterns you get out of these, at least, this
2 cohesiveness in some of the patterns you see there.

3 CHAIRMAN HORNSBERGER: Anyone else? Any
4 other comments? Any comments from our people in Las
5 Vegas?

6 LAS VEGAS PARTICIPANT: Yes, we have one.

7 CHAIRMAN HORNSBERGER: Okay. Please.

8 DR. MEIJER: My name is Aaron Meijer. I
9 have been involved in the social program for some --
10 I just want to respond to the comment that chemistry
11 hasn't been enclosed in the derivation of sorption
12 coefficient distributions.

13 LAS VEGAS PARTICIPANT: Back off from the
14 mike. Is the mike on?

15 DR. MEIJER: At any rate, the fact is that
16 we have incorporated chemistry into the derivation of
17 the absorption coefficient distribution, both the SZ
18 and for the UZ in different ways for the two. In
19 addition, we've also done a surface complexation
20 modeling that Jim Davis and Paul Bertetti talked about
21 yesterday. I wasn't here for that, but I'm pretty
22 well familiar with what they've done. Those sorts of
23 things are incorporated into our thing on sorption
24 behavior, certainly in the volcanic section, but also
25 in the alluvium. We didn't have a chance to make a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 presentation on all of that, but I think if you heard
2 the presentation and presumably you'll see this stuff
3 in the license application, you'll find that this
4 information is in there.

5 I would also like to make a comment
6 regarding the applicability of the UMTRA site, the
7 Naturita site to the Yucca Mountain site. I've spent
8 some time looking at various UMTRA sites as possible
9 analogs and invariably what you find is that these are
10 rather distinct chemical sites. Basically, you have
11 some sort of plant that produced some toxic material,
12 either very alkaline or very acid depending on the
13 site and that's stuff then was dumped out in tailings
14 piles and that went into the subsurface. So you end
15 up with a quite unusual water chemistry, if you like,
16 as source term. This is not likely to happen in Yucca
17 Mountain.

18 So I have some question about the
19 applicability of certainly Naturita to the Yucca
20 Mountain site. I think the approach is useful and Jim
21 has done a great job in applying it to Naturita and
22 Jim has done a great job in many other ways as well in
23 developing these models. I think in terms of the
24 direct applicability of Yucca Mountain the link is not
25 altogether clear or direct.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Then finally some of the comments that Don
2 Shettel has made, I think we have responses to a lot
3 of his comments on the assumptions regarding sorption
4 and that at some point in the future we'll probably
5 talk about. We do have information that bears on all
6 of those assumptions. That's all I really have to
7 say.

8 CHAIRMAN HORNSBERGER: Thanks very much.
9 We are open by the way for comments from anyone. So
10 I guess on the schedule this can be the Public
11 Comments section. Steve. Do I see you have your name
12 up?

13 MR. FRISHMAN: Yes. I have just a couple
14 comments on the two places risk seems to be most
15 evident in the conversation. First was Matt Kozak's
16 presentation. I think he tried to draw us the
17 distinction between "reasonable expectation" and the
18 Commission and DOE's approach which is a much more
19 compliance-based approach.

20 Before you go too far with trying to adopt
21 this line of argument, it's important to remember that
22 in the lawsuit that the State of Nevada filed, one of
23 the issues in the case in the filing against the
24 Regulatory Commission had to do with the meaning of
25 "reasonable expectation" versus the traditional and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 continually used "reasonable assurance" by the
2 Commission.

3 But that portion of the lawsuit is over.
4 The Nuclear Regulatory Commission conceded in their
5 response that reasonable expectation and reasonable
6 assurance mean the same thing relative to Part 63. So
7 before you go too far trying to draw any differences,
8 remember that this issue has been litigated and it has
9 been confirmed that reasonable expectation and
10 reasonable assurance in its currently understood
11 meaning is the standard for Part 63. I just wanted to
12 let you know that in case you didn't so you wouldn't
13 get too far afield.

14 The other has to do with Tim McCartin's
15 presentation that I believe deals a misguided risk
16 perspective. The title includes "Risk Perspective"
17 but if you look what's going on here it doesn't do
18 what would be expected. If your mission is to risk-
19 inform the decision-making, then this approach really
20 doesn't do it.

21 The reason it doesn't is because the real
22 risk of the repository is not what you put in it. The
23 real risk is what gets out and gets to the accessible
24 environment. This presentation doesn't reflect that
25 real risk. And I think it's in any great dispute that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 technetium and iodine are the big players in the dose
2 in the first, maybe up, to 100,000 years and beyond
3 the peak dose is primarily driven by neptunium. This
4 presentation doesn't indicate that that would be the
5 case.

6 In fact, it doesn't really tell you
7 anything other than for long half-life radionuclides
8 that have half-lives beyond 10,000 years you ought to
9 pay a lot of attention to the plutonium. There may be
10 a need to, but we don't know yet and we don't know
11 that extent to which we have to because of the whole
12 question plutonium transport as a colloid. It doesn't
13 tell you in any way that the neptunium is what you
14 really have to worry about because of its chemical
15 characteristics in the Yucca Mountain site
16 environment. It doesn't tell you that technetium and
17 iodine are what you really have to worry about because
18 of its behavior in the Yucca Mountain environment.

19 So if you're looking for new ways to
20 communicate a risk perspective, it ought to at least
21 tell you or be responsive to what the risks are rather
22 than clouding the issue with things that either we
23 don't know or things that are wrong. For americium,
24 I think it's also not argued, but americium is a big
25 player if you have volcanic disturbance early in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 history of the repository. So, yes, it is a big
2 player. It suggests that it's a really big player for
3 one that has a half-life when in fact the primary
4 delivery of the dose of the delivery made of the dose
5 is going to be groundwater. So if you're going to get
6 into new ways of communicating a risk perspective, it
7 should at least tell you what the risks are and why
8 you believe they are the risks rather than clouding
9 the issue with things that, yes, they matter but we
10 understand at least to some extent, we understand some
11 of them, as to why they really matter, but they are
12 not the most important issues in a risk discussion.

13 CHAIRMAN HORNSBERGER: Thanks, Steve. I
14 think that perhaps I will speak in Tim's defense for
15 a moment. Okay? In part, Tim did his presentation in
16 response to some urgency of the ACNW after Tim had
17 presented a full analysis of the TPA which included
18 the full assessment of dose calculated to be delivered
19 to the reasonably, maximally exposed individual.

20 Basically his presentation to really
21 understand it I suspect, you would have had to have
22 previous two presentations and of course, we never
23 have time to do everything sequentially. So I don't
24 think that Tim's presentation was meant to be a
25 standalone presentation as characterizing a full risk

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 assessment for Yucca Mountain. Basically, it's in
2 response to a charge or really a desire to on his part
3 and on the part of the NRC Staff to work to
4 communicate some fairly specific things and that is
5 how the geosphere, in particular, the saturated zone,
6 impacts the understanding of how various radionuclides
7 are impacted by the geosphere. So I take your point,
8 but I just wanted to clarify that that your criticism,
9 I think, isn't quite on target because you perhaps
10 misunderstood what Tim was asked to do here.

11 MR. FRISHMAN: Let me comment on this
12 because I've essentially this same presentation from
13 Tim before not in the context of a geosphere workshop.
14 In fact, the reason that he put in the table of those
15 with half-lives over 10,000 years is because I
16 discussed that very issue with him after his last
17 presentation of this. So I'm not arguing that there
18 is a current context for this, but this has been
19 presented as a standalone before and my guess is that
20 it will be again. So I understand what you're saying.
21 Then maybe if it's going to be presented, it should be
22 presented in the context as you say rather than giving
23 the appearance that it is a standalone.

24 CHAIRMAN HORNSBERGER: Tim.

25 MR. McCARTIN: Yeah, Tim McCartin, NRC

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Staff. I take the encouragement and criticism, Steve.
2 I can do a better job of explaining some of it, but
3 George is right. There's a lot of context here. I
4 did say that when you have the dose assessment and you
5 have the dose number, you clearly see that it's iodine
6 and technetium. So you're going in and you have that
7 overall "Okay."

8 The question is why and what else is going
9 on. I would say that I would have a different
10 perspective from the iodine and technetium dose if
11 indeed iodine and technetium were an enormous part of
12 inventory and indeed the models for release were such
13 that I was releasing a small fraction of that
14 inventory and it was being retarded and it was still
15 giving this dose versus the situation we have.

16 It actually is a very small part of the
17 inventory. We actually have a lot of iodine and
18 technetium in the gap that is instantly released. In
19 spite of that, you can see the doses are generally
20 relatively small, but we are moving a lot of, a fairly
21 large fraction of the percentage. It's not the
22 release rate. So there's a lot of processes going in
23 there that you use in helping you understand where is
24 the bigger issue.

25 I will go back to release rate affects the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 neptunium. Solubility affects the neptunium.
2 Transport affects the neptunium. And there are
3 assumptions there that tend to be fairly relevant.
4 For some of the other nuclides like plutonium,
5 americium, there are a very large fraction of that
6 inventory and I think you want to understand why
7 aren't they getting out. So that's the context.

8 In subsequent presentations, I think it
9 would be worthwhile to provide that total system look.
10 But I believe this is a way to provide some
11 information to understand how the system is behaving.
12 I think it is important from a safety perspective.
13 The inventory for plutonium and americium is enormous.
14 The potential health consequences are very large and
15 to understand why that doesn't get out is a very
16 important part. I agree with you that indeed they
17 don't get out, but we sure want to understand why and
18 have confidence in why. So that's a useful context to
19 provide.

20 MR. FRISHMAN: One follow-up comment on
21 that and I won't belabor that any further. One of the
22 reasons that I was interested in this is because I've
23 looked at the DOE's TSPA output for releases from the
24 repository and if you look at knowing the inventory of
25 technetium and iodine and then look at the projected

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 release curve and then back-calculate that to a dose,
2 you're looking at a dose that is very close to the
3 groundwater standard. That's one of the reasons that
4 I'm concerned about it.

5 Sure. It's a small part of the inventory,
6 but it's enough and the way it's released is big
7 enough to actually raise the question of whether this
8 site meets the standard or not. That's one of the
9 reasons why I'm so concerned about a presentation like
10 this that doesn't make it clear that the amount of
11 inventory isn't necessarily the most important thing
12 relative to risk and dose.

13 CHAIRMAN HORNSBERGER: I think we'll let
14 it there and believe me, there is nobody that disputes
15 that contention, Steve. The standard is the standard
16 and people have to look very carefully and the NRC
17 will look very carefully at a case that the Department
18 of Energy makes for the safety of the repository and
19 none of what Tim presented changes anything on that
20 front. Other comments? Dick, did you have a
21 response?

22 DR. PARIZEK: I was just ask Tim whether
23 or not Table 15 includes, say, a volcanic scenario or
24 was it not in the thought process when you were trying
25 to erect those tables? In worst cases, it's going to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be some sort of failure of the waste package in
2 transport through the saturated zone and so on.

3 MR. McCARTIN: It doesn't include.

4 DR. PARIZEK: It almost has to be a
5 footnote of what's not in there.

6 MR. McCARTIN: Yeah.

7 DR. PARIZEK: It's the "normal" behavior
8 of the repository.

9 MR. McCARTIN: Yes. A water release.

10 DR. PARIZEK: Rather than explosive
11 release or something. But that's a whole different
12 analysis which could then drastically change which I
13 guess is what Steve was also pointing out.

14 MR. McCARTIN: Sure. And one thing if I
15 could clarify and I'm not sure I make it as clear is
16 in that table where I have the Ds. A single D means
17 at least 100 years, but less than 1,000. So it could
18 be anywhere from 100 up to 999 for what it's worth.
19 I didn't mean to imply -- I forget exactly how I
20 explained it. It could be as low as 100, but it could
21 be as high as 999 years.

22 DR. PARIZEK: And the blanks again? When
23 you said it, I couldn't write it down fast enough. My
24 mind lost it.

25 MR. McCARTIN: Well, the blanks would be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 less than the lowest measure there. Now for the
2 delays, there weren't any blanks where I had delays.
3 So it would just be for the release rates.

4 CHAIRMAN HORNSBERGER: But had it been
5 less than 100 years, there would have been a blank in
6 the delay.

7 MR. McCARTIN: Correct.

8 CHAIRMAN HORNSBERGER: Other comments?
9 Ines.

10 DR. TRIAY: I have one. I would like to
11 take the opportunity to -- Do you want to go first?
12 I wanted to ask a question on the follow-up comment of
13 Dr. Aaron Meijer. Could you tell me? You were saying
14 that you had done some of the surface complexation
15 modeling similar to what was presented during the
16 first day of these two days. Can you explain what has
17 been done on the surface complexation modeling for the
18 element neptunium and how did the sorption coefficient
19 approach fare given your sorption modeling with more
20 sophisticated models?

21 CHAIRMAN HORNSBERGER: In twenty-five
22 words or less.

23 DR. MEIJER: I think we can probably spend
24 the next two weeks talking about some of the details,
25 but in any case, the bottomline is that surface

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 complexation modeling we used is a freak C-based model
2 which is basically consistent with the stuff that Jim
3 was doing as far as I understand it. We used some
4 parameters. That is used surface areas with rocks at
5 the site and we also used parameters from the Center,
6 from Paul's work and from the Center's work, in
7 particular, on neptunium and binding constants onto
8 silica and also a site density on silica.

9 Basically, I assumed that because the
10 rocks at Yucca Mountain, certainly the volcanic rocks,
11 are something on the order of 70 to 80 percent silica
12 on a whole rock basis. I used silica as a substrate
13 to do surface complexation modeling. So then with a
14 surface area with a site density with a binding
15 constant from the Center, you could the model, the
16 sorption behavior of neptunium, for different water
17 chemistries and you can vary, as I did, the pH data,
18 the PCO_2 and vary whatever parameters you want to
19 vary.

20 At any rate, we did go through the work
21 for J-13 compositions and for p#1, we found it to be
22 if not bounding certainly representing a good part of
23 the range water chemistries at Yucca Mountain and we
24 came up with these surface complexation model results
25 which seem to be in the range of the experimental data

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that was available for rocks with the appropriate
2 surface area and mineralogy. That is for instance a
3 deepage by tuff. We have results for that.

4 So basically, the surface complexation
5 modeling collaborated the experimental data and
6 allowed us to extend that experimental data over a
7 wider range of pH and other water chemistries.
8 Overall, I was very satisfied with the correspondence
9 between the modeling and the experimental data
10 particularly for experiments that were run at longer
11 durations. Is that the sort of thing you were after?

12 DR. TRIAY: That's exactly right and I
13 would like to just point out to the members of the
14 ACNW that the comment that I was making before was to
15 do any exercise like the one that has been described
16 but not presented and probably if you have an interest
17 in exploring that, you need to take that, I think,
18 into account before a final recommendation on this
19 particular matter. I think that that didn't come out
20 in the presentations that were given here in the last
21 two days.

22 CHAIRMAN HORNSBERGER: That's a good
23 point. I think that I saw Judy Treichel ask for the
24 floor. Do you have a comment, Judy?

25 MS. TREICHEL: Yes. After all this time,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I think you need to get another citizen voice. I
2 count Les Bradshaw as being a spokesperson for Nye
3 County and there are a lot of citizens who pay
4 attention to what goes on in these meetings, but
5 aren't directly here.

6 I was glad to hear that four millirem was
7 finally mentioned because that is what we understand
8 as the groundwater standard and if this stuff gets to
9 anybody, it has to meet a four millirem standard. I
10 always kind of talk with a laundry list here because
11 I take notes as I go along. But we're very concerned
12 and in fact, I've written a letter. So many of these
13 meetings sound like there's already a review going on
14 of an LA (license application). There's sort of an
15 assumption of what will be in there.

16 Of course, there can be an assumption
17 because this has been talked about so much and DOE is
18 continually being told "Now what you need to do when
19 you file this LA if it's to be successful is this,
20 this and this." But the state, the effective units of
21 government and the citizens who are concerned and want
22 to be involved in this and plan to be involved one way
23 or another are never told "Now what you need to do
24 about your concerns is this, this or this." I have
25 written about that. I just wanted to mention it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Every meeting, no matter if it's the ACNW
2 or a technical exchange of the TRB meetings or
3 whatever, generally ends with "I'm so glad to see that
4 work happening. It's a little late in the process,
5 but it's good that it's happening. We need more
6 information about this, this and this." Here we are
7 coming screaming down in this incredible race toward
8 a license application that's really very silly to be
9 doing it that way.

10 There was conversation about conservatism
11 versus reality and I would play it out from a citizen
12 point of view. The repository located within the
13 Death Valley groundwater system is not realistic and
14 you have a balanced use of water out there right now
15 where it supports the kinds of things that the people
16 who live out there want supported.

17 To introduce a repository into that is not
18 realistic and there are so many uncertainties
19 associated with it that there has to be high levels of
20 conservatism. When you are using a risk-informed,
21 performance-based kind of process here where you're
22 talking about something where you have no track
23 record, no performance, and you're not really all that
24 sure what the risks are because of all of the
25 uncertainties, the least you can do is be very, very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 conservative.

2 To talk about it being realistic, I think
3 is disingenuous. It's sort of silly and when you ask
4 people about analogs, they can look at a lot of
5 analogs because what they fully expect is some time
6 out in the future, you're going to have analogs for
7 this thing that you could find today at Hanford, at
8 Savannah River, at INEEL, at Oak Ridge. You can list
9 them forever about things that were not supposed to
10 happen with radioactive materials and they did.

11 What we're worried about is that the first
12 indication that something went wrong is the Remy's kid
13 who just doesn't seem to be very healthy. I wonder
14 what's wrong with that kid's immune system. So from
15 a public perspective, I think those things need to be
16 said and need to heard. Thank you.

17 CHAIRMAN HORNSBERGER: Thanks, Judy.
18 Other comments? Anyone else in Las Vegas? Anyone
19 else here at the table? The Center? Oh, I forgot San
20 Antonio. Anyone from San Antonio want to make a
21 comment?

22 MR. PABALAN: No comments from here.

23 CHAIRMAN HORNSBERGER: Thank you. All
24 right. Bobby, you're the only one there.

25 MR. PABALAN: I'm the only one left.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN HORNSBERGER: All right. Well,
2 I'll draw this to a close then. I'll just once again
3 thank everyone. I think I gave my summary comments
4 earlier and I'll just say thanks again for a
5 productive meeting. What we are going to do is have
6 a 15 minute break now. We will go off the record and
7 the Committee will reconvene in 15 minutes at 4:00
8 p.m. Thanks again. Off the record.

9 (Whereupon, at 3:43 p.m., the meeting of
10 the Advisory Committee on Nuclear Waste was
11 concluded.)

12
13
14
15
16
17
18
19
20
21
22
23
24
25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701