

*Official Transcript of Proceedings*

*NEAL R. GROSS AND CO. M.M.P.P.O.N*

Title: Advisory Committee on Nuclear Waste  
188th Meeting

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Tuesday, April 8, 2008

Work Order No.: NRC-2116

Pages 1-247

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON NUCLEAR WASTE AND MATERIALS

(ACNW&M)

188<sup>th</sup> MEETING

+ + + + +

TUESDAY,

APRIL 8, 2008

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Advisory Committee met at the Nuclear  
Regulatory Commission, Two White Flint North,  
Room T2B3, 11545 Rockville Pike, at 8:00 a.m.,  
Michael T. Ryan, Chairman, presiding.

COMMITTEE MEMBERS:

- |                 |               |
|-----------------|---------------|
| MICHAEL T. RYAN | Chairman      |
| ALLEN G. CROFF  | Vice Chairman |
| JAMES H. CLARKE | Member        |
| RUTH F. WEINER  | Member        |

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

ALSO PRESENT:

MARY HELEN BARCELLOS-HOFF, Lawrence Berkeley  
Laboratory

BERNARD LE GUEN, Electricite de France

VINCENT HOLAHAN, RES

CHARLES LAND, National Cancer Institute

KENNETH MOSSMAN, Arizona State University

JEROME PUSKIN, EPA

THOMAS TENFORDE, NCRD

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

TABLE OF CONTENTS

	AGENDA ITEM	PAGE
1		
2		
3		
4	Greetings and Introductions	4
5	Opening Remarks by NRC Commissioner	
6	Peter B. Lyons	6
7	The Linear Non-Threshold Theory (LNT) --	
8	Is it Time to Consider a Change in	
9	Regulatory Policy	19
10	National Council on Radiation Protection	
11	(NCRP) Perspective on Important	
12	Issues in Understanding the Biological	
13	Effects of Low Radiation Doses	57
14	Results from DOE's Low Dose Radiation	
15	Research Program -- What Does it Tell	
16	Us About the LNT Hypothesis?	80
17	Estimation of the Carcinogenic Effects of	
18	Low Doses of Ionizing Radiation --	
19	Insights about the LNT Hypothesis	112
20	Overview of Uncertainties in the Estimates	
21	of Low-Dose Effects	140
22	Panel Discussion on Session I	160
23	Stakeholder Comments, Views, and	
24	Perspectives	220
25		

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

## P-R-O-C-E-E-D-I-N-G-S

(8:05 a.m.)

CHAIRMAN RYAN: I guess the staff is sweeping the lobby, so I'm going to take care of a couple of preliminaries, if I may, and read our opening statement.

I would like to ask participants to please come to the table to their name tags, and I would like to ask everybody else to take their seats.

This is the first day of the 188th meeting of the Advisory Committee on Nuclear Waste and Materials. During today's meeting, the Committee will conduct a working group meeting on the effects of low radiation doses. At the end of the day, the Committee will consider discussion of ACNW&M letter reports.

This meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act. Neil Coleman is the Designated Federal Official for today's session.

Regarding today's session, we have received written comments and requests for time to make oral statements from two members of the public, Dr. Ted Rockwell, Vice President of Radiation Science

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and Health, and Mr. Lynn Ehrle, Senior Biomedical  
2 Policy Analyst for the Organic Consumers Association.

3 Should anyone else wish to address the Committee,  
4 please make your wishes known to one of the Committee  
5 staff.

6 It is requested that speakers use one of  
7 the microphones, identify themselves, and speak with  
8 sufficient clarity and volume so they can be readily  
9 heard. It is also requested that if you have cell  
10 phones or pagers that you kindly turn them off or place  
11 them on mute at this time.

12 Feedback forms are available at the back  
13 of the room for anyone who would like to provide us  
14 with his or her comments about this meeting.

15 I have two items of interest regarding  
16 personnel. Ms. Sanari Chay, who has been with the  
17 ACNW&M staff for almost five years, is leaving on  
18 April 14, 2008, to join the Office of Nuclear Reactor  
19 Regulation in the Division of License Renewal. During  
20 her tenure with the ACNW&M staff, she has provided  
21 outstanding support to the Committee and the Committee  
22 staff. Her dedication, professional attitude, hard  
23 work, attention to details, and willingness to assist  
24 others are very much appreciated.

25 Sanari, thank you very much, and good luck

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 in your new job.

2 Ms. Carol Brown, who has been with the  
3 PMDA staff for almost two years, is also leaving on  
4 April 18, 2008, to be closer to her family in Central  
5 Virginia. She is joining the staff of the University  
6 of Virginia in Charlottesville. During her tenure on  
7 the PMDA staff, she has provided outstanding support  
8 to the Committee in areas of travel, scheduling, and  
9 support for letter reports. Her professional  
10 attitude, dedication, hard work, attention to details,  
11 and willingness to assist others is also very much  
12 appreciated.

13 Carol, thank you very much, and the best  
14 of luck to you in your new job.

15 Let's see, I think we'll have a few folks  
16 that will be coming in late, but we'll go ahead and  
17 get started. I'd like to introduce our first speaker.

18 Commissioner Peter B. Lyons is here to share his  
19 views on communicating risks at low doses. Without  
20 further ado, Commissioner Lyons, the floor is yours.

21 COMMISSIONER LYONS: Well, thank you very  
22 much, Mike, and thanks to ACNW and the other folks who  
23 are joining you here today to discuss this topic.

24 This whole area of low-dose radiation  
25 effects has been a subject of great personal interest

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to me for many, many years. And now that I have the  
2 opportunity to be here at the NRC and see -- and  
3 perhaps get a better direct understanding of how our,  
4 I would say, extremely limited scientific knowledge of  
5 effects at low doses, to see how that limited  
6 scientific understanding drives major elements of  
7 public policy, including a few areas that I'll touch  
8 on in my brief remarks. It's truly something that I  
9 find very, very frustrating.

10 I'm very hopeful that the discussions that  
11 you're going to have today I'm at least very hopeful  
12 will shed additional light on this very complex area  
13 of health effects at low doses. Hopefully,  
14 particularly through the DOE program, and other  
15 discussions that may well go on here, that all of you  
16 may be able to provide some feedback to the Commission  
17 on ways of better understanding the science of risk at  
18 low doses, and perhaps guiding us in directions that  
19 might be better supported by science than the paths  
20 that I think we're on now.

21 To the extent that this group today can  
22 propose new approaches, that to me would be a measure  
23 of success for the workshop's activities.

24 In an ideal -- in anything resembling an  
25 ideal world, I would look forward to being with you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 throughout today. Unfortunately, the Commission is  
2 meeting with FERC, and I will have to get out of here  
3 right at 8:30, jump in a car and go downtown and spend  
4 the rest of the day with FERC.

5 Members of my staff -- Steve will be here,  
6 and certainly I am looking forward to Steve's report  
7 back, along with Mike's and other of you discussing  
8 with me what transpires during the day's discussions.

9 In addition, as I'm sure you are well  
10 aware, NCRP has another major meeting coming up  
11 devoted to this subject very soon. Again, in an ideal  
12 world, I would be there. However, in this case I will  
13 be in Japan, a different part of that ideal world. So  
14 I'll have to miss that one, too. But certainly my  
15 absence doesn't reflect on my interest in these very,  
16 very important areas.

17 If I could have that next slide.

18 A large part of your discussion today is  
19 I'm sure going to involve the linear no-threshold  
20 model. And I would like to just share in the next few  
21 slides some of the reasons why I'm particularly  
22 frustrated by the use of this model, not that anything  
23 I'm going to say is going to be the least bit  
24 surprising to any of you. You are even -- you are far  
25 better aware of the literature and the issues than I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 am.

2 But at least from the perspective of just  
3 one member of the Commission, and just one regulator,  
4 the concern I have is that we deal with the LNT, which  
5 -- the linear no-threshold model -- which is no better  
6 than a hypothesis. And I think that -- I think that  
7 most scientists would agree with that.

8 But we treat it as essentially fact. We  
9 frequently use the word that it is a prudent way of  
10 managing risks. From a regulatory standpoint, I'd  
11 much rather know the right way to regulate risks.  
12 And, again, another word on this slide, the word  
13 "conservative," is applied frequently.

14 But I'd like to at least suggest that it  
15 may well not be conservative to be -- to be using a  
16 model with very limited scientific foundation, if any,  
17 and a model that drives very, very large expenditures  
18 of public funds. And as I'll note on my last slide, I  
19 think also is one of the main drivers of public fears  
20 about this unknown quantity of radiation.

21 So to me there are very, very real public  
22 impacts of the so-called conservatism that we use in  
23 this area. And I hope that your workshop today will  
24 consider and discuss some of the impacts of that  
25 conservatism.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           And, again, I hope out of this you can  
2 provide some guidance to the Commission that might  
3 allow us to take alternative approaches, at the same  
4 time that I, and I would guess all of you, are going  
5 to be cheering on further scientific research that  
6 will I hope nail down with greater confidence exactly  
7 what the effects are.

8           If I could have the next slide.

9           This is just -- well, this is -- I was  
10 going to say this starts a series of quotes, but it  
11 actually doesn't. This is just the standard sound  
12 byte that you hear relative to LNT. It's repeated in  
13 any number of ways for -- sometimes it's just the  
14 statement that all radiation causes cancer. This  
15 statement certainly has nothing to do with an  
16 understanding of risk.

17           It does use the word "risk," but it's  
18 certainly not placing that risk in any sort of a  
19 context. And most of the quick sound bytes that you  
20 hear that derive from LNT are relatively or completely  
21 devoid of any risk-based statement by -- such  
22 statements, unfortunately, can and do increase the  
23 public fears of radiation.

24           It would be probably equally accurate to  
25 say that the simple fact that all of you showed up

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 today had a risk. You might have gone on the Metro.  
2 You might have walked across the street. You might  
3 have driven in a car. That's all -- those are all  
4 activities that introduce risk as well.

5 And I personally have been very frustrated  
6 by the difficulties of trying to communicate both the  
7 uncertainty and the knowledge of low doses, of what  
8 the risks may be, and then trying to place those risks  
9 in terms of perspective, in terms of the risks that we  
10 experience and accept as part of modern life.

11 The next viewgraph, if I may, starts the  
12 series of quotes which, again, all of you know. But  
13 just to make my point that for virtually any of the  
14 careful studies on the linear no-dose threshold, the  
15 LNT model, there is -- there are statements in there  
16 recognizing that it is a theory, that it is a  
17 hypothesis, statements like you're seeing here --  
18 assumed proportional to dose; or the second one, a  
19 prudent basis for practical purposes; or the third  
20 one, scientifically plausible. Again, those are all  
21 accurate statements I think, but then -- let me go on  
22 to the next slide and make a few more points on this.

23 The National Academies, evidence  
24 consistent with the hypothesis, and the Committee  
25 judges it is unlikely that a threshold exists. Those,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to me, are not scientific statements. Those are all  
2 hypotheses and certainly best guesses, and they are  
3 carefully worded statements. But they all reflect the  
4 dearth of scientific knowledge.

5 If I could have the next slide.

6 The Department of Energy -- Ray Orbach --  
7 responded to the BEIR VII National Academy report, and  
8 made a number of points from the work, or based on the  
9 work, that is ongoing within the Department of  
10 Energy's low-dose radiation effects program.

11 And, again, I'm sure you've seen these,  
12 but Ray Orbach -- and this was back in 2005, there is  
13 even stronger statements that have come out since from  
14 this program. But even in 2005, Ray was able to state  
15 with high certainty that significant elements of the  
16 assumptions under pending LNT are simply not correct.

17 Plus, Ray also was concerned that BEIR VII, in his  
18 view, and I would say in my view, as he says in the  
19 first point, did not have adequate consideration of  
20 recent scientific advances, particularly those in the  
21 DOE program.

22 Could I have the next slide?

23 Coming in from the other side -- did we  
24 lose it, or maybe I just lost it on this screen?  
25 Coming in from the other side is the excellent work of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the French Academy, and I certainly appreciate your  
2 presence here today, sir. That should be most useful  
3 to again share the French perspectives with the ACNW.

4 But the research in France and the views  
5 in France are really quite different than those  
6 professed by the National -- our National Academy  
7 here. And the last statement that the LNT is not  
8 based on valid scientific data I absolutely agree  
9 with. Certainly, I have not seen data that would led  
10 me to say that LNT has a strong scientific basis.  
11 We're, again, back in this mode of, well, is it  
12 prudent or is it conservative?

13 May I have the next slide with the Health  
14 Physics comments?

15 And the Health Physics Society again makes  
16 the point about the LNT being an oversimplification,  
17 rejected for a number of different cancers, and making  
18 the point that there is a number of effects that have  
19 been well documented in the DOE program that can  
20 simply not be accounted for by the linear no-threshold  
21 model.

22 And the next one.

23 The NCRP -- again, and I hate to be  
24 belaboring this, but again making the points that the  
25 data are inconclusive. When I see a statement like,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 "No alternative relationship appears more plausible in  
2 LNT," that's hardly a ringing scientific endorsement  
3 for LNT.

4 And the next one.

5 No conclusive evidence to reject the  
6 assumption. As a scientist, and now as a regulator,  
7 statements like that I find very frustrating, and I  
8 think all of us would be very, very well served if we  
9 can complete enough research to better understand the  
10 effects in that range.

11 And if we go to the next slide, perhaps  
12 the most frustrating aspect of LNT to me is the way  
13 that it is used in applications of collective dose.  
14 At least to me mathematically, if you believe LNT,  
15 then you have to believe collective dose, even though  
16 groups like ICRP and others make a statement like you  
17 see here that tries to argue against the use of  
18 collective dose for projecting radiation effects on  
19 large populations.

20 I very much agree that collective dose  
21 should not be used, and I agree with the first  
22 statement from the ICRP on this slide, but to me is --  
23 when at the same time ICRP is saying, "Well, let's use  
24 LNT," I don't see how you accept the use of LNT and  
25 then argue that, well, we don't really mean it to be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 used for collective dose where collective dose is used  
2 to calculate actual risks to real people.

3 I have no problem with the bottom  
4 suggestion from ICRP that it's an instrument for  
5 optimization. But as you are all well aware,  
6 collective dose is frequently used in far, far broader  
7 context.

8 The next slide shows the Health Physics  
9 Society, which, again, makes exactly the same point.  
10 And, again, this isn't going to be news to anyone.

11 And if I could go to my very last slide  
12 before I run out the door to head for FERC.

13 I started with the question on the LNT.  
14 Certainly, my very strong view, and I think the view  
15 supported by any of the scientific organizations is  
16 that it is a hypothesis. There is not adequate  
17 scientific data to say that LNT is a fact.

18 I discussed earlier my frustration on the  
19 words "prudent" and "conservative." And from a  
20 regulatory standpoint, I think one has to truly  
21 question whether using a model that is so-called  
22 conservative is the wisest course when it has  
23 substantial implications. And I've tried to list some  
24 of those implications.

25 I think we would all be very well served

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 if we could move towards a stronger scientific basis  
2 for radiation effects at low doses. And I think if we  
3 had that we would be able to address each of those  
4 implications that I have down there. Instead of  
5 taking a conservative view, we could perhaps be -- I  
6 think we could be much more confident that we are  
7 adequately stewarding the use of public funds. I'm  
8 thinking here in the cleanup and the decommissioning  
9 aspects.

10 I think we would do a far better job of  
11 discussing where it's appropriate to use collective  
12 dose and where it's not appropriate to use collective  
13 dose. And in particular, it's my very strong belief  
14 that improved science would only confirm the  
15 statements that have already been made, by Health  
16 Physics, by ICRP, and others, that collective dose  
17 should not be used to estimate risks to large groups.

18 And I think the public's fear of radiation  
19 would certainly be addressed by -- partially addressed  
20 at least -- by a better understanding of what those  
21 effects truly are. We may find that we -- I don't  
22 know which way we need to go on LNT. Is it more  
23 conservative or less conservative? But to me, the  
24 important point is that we should be using better  
25 scientific information, trying to strive for that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 information, and trying to use the most scientifically  
2 accurate models we can for risk estimates.

3 I should stop there. You have a  
4 fascinating set of presentations planned for today.  
5 And, again, I wish I could be here for the day, but I  
6 will be 10 miles away.

7 There may be time for a question, Mike, or  
8 maybe I should just head out.

9 CHAIRMAN RYAN: Sure. I think,  
10 Commissioner, we certainly appreciate your views. And  
11 as you've noted, we have an excellent panel of experts  
12 to explore the questions that you've outlined,  
13 including a discussion of the LNT in light of current  
14 science, and then some of the implications that that  
15 science might have on policy. So we're pleased to  
16 have them.

17 I want to thank everybody with you here that has  
18 given of their time and expertise to participate  
19 today. It's, I think, going to be an excellent panel  
20 and a rich discussion for two days.

21 On topics like this, we tend to try to  
22 explore the range of views, and our report to the  
23 Commission will certainly try and document the views  
24 that we hear today, and then provide you with our  
25 analysis of those views.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 COMMISSIONER LYONS: Very much  
2 appreciated.

3 CHAIRMAN RYAN: We thank you very much for  
4 your time, and good luck in the rest of your day.

5 Is there anybody on the bridge line? Is  
6 the bridge line open? It's open. Okay. We have a  
7 bridge line for folks that want to dial into the  
8 meeting. We have not had anybody dial in, but we'll  
9 hear them. And if I may just beg your indulgence,  
10 we'll need to interrupt and have them identify  
11 themselves for the Court Reporter. So as they do  
12 that, we'll have them announce themselves.

13 MR. EHRLE: I'm on the bridge line I  
14 guess.

15 CHAIRMAN RYAN: And you are, sir?

16 MR. EHRLE: Lynn Howard Ehrle, Senior  
17 Biomedical Policy Analyst, Organic Consumers  
18 Association, and chair of its project, the  
19 International Science Oversight Board, a 41-member  
20 worldwide group.

21 CHAIRMAN RYAN: Thank you, Mr. Ehrle. We  
22 do have, as I mentioned in my opening remarks, time  
23 for you to make comments, and that will come up a  
24 little later on -- let's see, a little later on this  
25 afternoon at 3:15. So we'll look forward to your

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 remarks then. I'm glad you're able to participate  
2 throughout the meeting. Welcome.

3 MR. EHRLE: Thank you.

4 CHAIRMAN RYAN: It might be helpful -- I  
5 don't know if your phone is capable to have a mute  
6 button, but sometimes the mute button is helpful,  
7 because if you don't have one we'll hear whatever you  
8 -- you know, whatever happens on your end of the  
9 phone.

10 Okay. Without further ado, I guess I  
11 would ask our keynote speaker, Professor Kenneth L.  
12 Mossman from Arizona State University, to open the  
13 meeting. Dr. Mossman?

14 DR. MOSSMAN: Thank you. Thank you very  
15 much, Mike. First, as a start-off, I want to applaud  
16 the efforts of Chairman Michael Ryan and also  
17 Commissioner Lyons for putting this meeting together.

18 I think that the timing of this meeting is very  
19 important.

20 It's interesting that the NCRP is holding  
21 its annual meeting next week and will be talking about  
22 many of the same issues that we will be discussing  
23 here. So hopefully -- I'm not going to be able to  
24 make the meeting, but hopefully many of the other  
25 people here will be able to, because in my view what

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 is absolutely critical is we get as many perspectives  
2 on the table as is possible.

3 LNT is a -- to say the least -- an  
4 emotional issue, in addition to a scientific one, an  
5 economic one, and a social one, and a political one.  
6 And over the past several decades, the primary focus  
7 has been on the social -- I'm sorry, has been on the  
8 scientific issues. But over the past 10 or 15 years,  
9 I have come to believe that, really, science is not  
10 the driver. The driver in the LNT debate is going to  
11 be --

12 CHAIRMAN RYAN: Did you want your slides  
13 up, Ken? I'm sorry.

14 DR. MOSSMAN: I'm sorry?

15 CHAIRMAN RYAN: Do you need your slides  
16 up?

17 DR. MOSSMAN: Yes, I do. I will need my  
18 slides. Thank you.

19 Over the past 10 or 15 years, I have come  
20 to believe that the major drivers are the social  
21 implications and the economic implications of using  
22 LNT.

23 In fact, could we have the next slide,  
24 please?

25 So I want to take just a few moments of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 your time to go over what I think are the major  
2 issues, and at the end pose a number of questions that  
3 hopefully we can address and may lead as a springboard  
4 to other kinds of questions as well in trying to  
5 resolve the LNT question.

6 And what this workshop is about is a broad  
7 exploration of the LNT question. It will focus  
8 primarily on science, but we have speakers such as  
9 Professor Jim Hammitt from Harvard School of Public  
10 Health who will be able to address important issues  
11 about economic questions as well.

12 CHAIRMAN RYAN: Again, forgive me, Dr.  
13 Mossman, but Dr. Hammitt has a personal issue he has  
14 to take care of today that came up suddenly. So he  
15 will be here --

16 DR. MOSSMAN: Oh, okay.

17 CHAIRMAN RYAN: -- either late today or  
18 tomorrow.

19 DR. MOSSMAN: Okay. All right. But  
20 hopefully his talk will --

21 CHAIRMAN RYAN: Is tomorrow, yes.

22 DR. MOSSMAN: Okay. Very good.

23 CHAIRMAN RYAN: I just wanted to let you  
24 know he's not here.

25 DR. MOSSMAN: Thank you. Thank you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           This is not a policy discussion, because  
2 policy is the province of the Commission, and we are  
3 not here to set policy or in any way to provide policy  
4 input, although hopefully the products of this  
5 workshop will be very helpful to the Commission -- to  
6 Commissioners and their staff.

7           So what we do want to talk about is: what  
8 is the state of the science? What is it that we know  
9 and don't know, from an epidemiologic perspective as  
10 well as a radiobiologic perspective? What are the  
11 uncertainties and risk estimates?

12           I find it very interesting that we use LNT  
13 down to doses of the order of one millisievert, two  
14 millisieverts, and calculate a risk. Well, what does  
15 the risk mean? Because the risk really is anything  
16 from zero all the way on up. And if we are making  
17 decisions on risk, it's beyond me how we can make any  
18 kind of decision when the uncertainty is so large. So  
19 uncertainties and risk estimates are really a critical  
20 issue.

21           And then, of course, there is the whole  
22 question of how we balance science and policy, and  
23 that is considered with the economic, political, and  
24 social issues. Even if LNT is right from a scientific  
25 standpoint, do we still use it? And the reason why I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 ask that -- are social and economic factors such that  
2 it would be -- preclude its use?

3 The science is such that we cannot exclude  
4 candidate theories. In other words, there is no  
5 robust, statistically significant, scientific data at  
6 low dose that will allow us to distinguish alternative  
7 scientific theories. And, therefore, one can really  
8 say with some degree of confidence that every theory  
9 that is currently on the table -- linear no-threshold,  
10 quadratic, linear-quadratic, hormesis -- is to one  
11 degree or another scientifically defensible. That  
12 means anything works.

13 And the real question then becomes: if  
14 the science cannot eliminate candidate scientific --  
15 candidate theories in favor of one versus others, then  
16 the decision really is going to very much depend on  
17 economic as well as social considerations. And that  
18 is why I said at the beginning of my presentation that  
19 science may not necessarily be the major driver. What  
20 will be the driver, in my view, is going to be  
21 economic considerations as well as social  
22 considerations.

23 I think it's useful at this point -- if I  
24 may have the next slide, please -- to talk about what  
25 LNT is used for, what it's not used for, and, perhaps

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 more important, what it shouldn't be used for. What  
2 LNT is used for, obviously, is its federal policy.  
3 And whether you like LNT or not, that's federal  
4 policy. And it's endorsed by the ICRP, it's endorsed  
5 by the National Academies through their BEIR reports.

6 It is also endorsed by the National Council on  
7 Radiological Protection.

8 It is used as a translator of dose to  
9 risk. It establishes a dose floor of zero, where we  
10 consider the structure of radiation protection as a  
11 top-down mechanism, where the dose limit is the  
12 ceiling, and the LNT theory establishes the floor as  
13 zero. And what we try to do in radiation protection  
14 is to keep doses as low as reasonably achievable,  
15 never above the dose limit, but as low as we possibly  
16 can, given that there are social and economic  
17 constraints in trying to do so.

18 Unfortunately, as Commissioner Lyons  
19 pointed out in his opening remarks, sometimes LNT is  
20 often misinterpreted, and that means we have to go to  
21 zero. So the goal of radiation protection is zero  
22 dose, zero risk, when in fact that may not necessarily  
23 be the case.

24 What ALARA tries to accomplish is to  
25 achieve a rational, quantitatively-determined

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 acceptable risk. How is a risk acceptable? It's  
2 acceptable when we have applied all of the economic  
3 and social resources necessary to the situation, to  
4 reduce the dose as low as reasonably achievable.

5 Once we've done that and we're satisfied  
6 with it, that residual risk is then acceptable. If  
7 it's no longer -- if it's not acceptable, then we go  
8 back and we apply additional resources -- social,  
9 economic, whatever it is -- to get the dose and the  
10 risk down to an acceptable level.

11 Next slide, please.

12 What LNT is not use for. It is not used  
13 for setting dose limits. I have followed the BEIR  
14 reports quite closely over the past 30 years -- no,  
15 I'm sorry, it would be 25 or 27 years -- no, is it  
16 more than that? '72 was the first report, so it would  
17 be 35 years, or thereabouts.

18 And it's interesting that special interest  
19 groups argue that BEIR VII is going to establish dose  
20 limits via its adoption of LNT. And their argument  
21 against LNT, therefore, is that the -- is that dose  
22 limits are not restrictive enough.

23 But, in fact, when you look at the  
24 history, when you look at the data, LNT has really not  
25 been used in any way in setting dose limits. And the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 little chart that is shown on the slide, and  
2 presumably everyone has a copy of that, shows the  
3 history of occupational dose limits from 1940 to 2005.  
4 And there has been a steady decrease with no change  
5 since 1960. And BEIR VII risk estimates, of course,  
6 have been all over the place since the first report in  
7 1972 through the most recent report in 2005.

8 I should say -- all over the place -- in  
9 retrospect, they are pretty good numbers. We probably  
10 know more about radiogenic cancer risk than we do  
11 about any other agent -- carcinogen -- in humans.  
12 And, in fact, although the numbers look like they are  
13 varying wildly, they are all within an order of  
14 magnitude, which is pretty good.

15 And, in fact, I was struck by the fact  
16 that the first numbers that came out in 1972 are not  
17 that different from the current estimates in 2005,  
18 even though we have much more epidemiologic data,  
19 including incidence data, we have far more  
20 sophisticated modeling capacity, and just the back-of-  
21 the-envelope calculation, puts you well within an  
22 order of magnitude of what the numbers are that we are  
23 currently using, and the nominal risk now is roughly  
24 about five percent per sievert. In other words, five  
25 in a -- five percent lifetime cancer mortality risk.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Next slide, please.

2 What LNT should not be used for -- it  
3 shouldn't be used for estimating individual radiogenic  
4 risk. Why is that? Because the risk estimates that  
5 all of the authoritative bodies use in developing  
6 their recommendations come from studies of large  
7 populations. So they are really population risks.

8 The real question is: how do you  
9 translate from population risks to individual risks?  
10 And we really don't know how to do that very well,  
11 because we fully don't understand what the nature of  
12 the risk factors are for these diseases. At very  
13 small doses of the order of a few millisievert per  
14 year, radiogenic risk is a very, very small  
15 contributor to the total cancer risk in any one  
16 individual.

17 If the individual smokes cigarettes or has  
18 a particular diet that would enhance risk, these  
19 factors tend to be far more important than any  
20 radiogenic risk. And how we factor in these  
21 individual risks, how we structure an individual risk  
22 profile, is problematic, but it's obviously something  
23 that we would need to do, if in fact we're serious  
24 about going from population-based risks to individual  
25 risks.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Estimating public health impacts from  
2 collective dose, as Commissioner Lyons had pointed  
3 out, is inappropriate in a number of ways. I would  
4 disagree with the Commissioner that collective dose  
5 should never be used, and I apologize if I am  
6 paraphrasing incorrectly.

7 There are instances in which collective  
8 dose may be meaningful -- when you're dealing with a  
9 population that is very well characterized, doses are  
10 high, and for which we have some confidence in risk.  
11 Under those circumstances, collective dose may be  
12 reasonable.

13 But the way collective doses used  
14 routinely is -- is inappropriate, and the NCRP, in its  
15 report 121, the ICRP in its most recent report, 103,  
16 clearly discuss the limitations of collective dose.  
17 And we need to be very careful about how we use it in  
18 trying to estimate public health impacts.

19 I'm always reminded of the comment that  
20 when individuals are exposed to very, very small  
21 doses, and the associated risks are small, if the risk  
22 to the individual is small, then the risk to the  
23 population is small, too. And simply because you have  
24 a large population, millions of individuals, and you  
25 multiply the individual risk, which may be of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 order of one in a million, and you get some number,  
2 doesn't make it a public health problem.

3 And we need to be -- and that's -- and  
4 that's a key part of the collective dose constraint is  
5 that we should be cognizant of the fact that we're not  
6 dealing with infectious diseases where individuals can  
7 affect the probability of other people. We are all  
8 autonomous units, if I could use that expression, in  
9 the public. And the fact that I got one dose and Dr.  
10 Land got another dose doesn't impact his risk any more  
11 than his risk impacts me.

12 Let me turn quickly now to a recent  
13 history of the LNT debate, because I think it's useful  
14 to see where we've been and where we might be going.  
15 And those of you that have been following LNT for a  
16 while know that it has been a concern ever since LNT  
17 was introduced into the radiation protection  
18 philosophy several decades ago.

19 But it is only within the last 20 or 25  
20 years that there has been a systematic effort to  
21 really look at LNT and determine what the basic of the  
22 -- what the scientific basis is for supporting LNT and  
23 the like.

24 As I best can gather, in 1988, Leonard  
25 Sagan at the Electric Power Research Institute was one

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 of the first people to convene a workshop that looked  
2 at ionizing effects research, and particularly opened  
3 up the question about whether the science really did  
4 support the LNT or whether we need to look more  
5 closely at it.

6 The ICRP recommendations, in 1990 and  
7 1991, and the BEIR V report also looked very closely  
8 at the LNT question.

9 In 1998, the Health Physics Society  
10 convened the Wingspread conference, which looked --  
11 and some of you may have been there -- looked at the  
12 conflicting scientific views in the LNT question. And  
13 we had representatives from all camps, including  
14 hormesis, LNT, quadratic, linear quadratic, etcetera.

15 We have a followup conference in 2000,  
16 again supported by the Health Physics Society, the  
17 Airlie House Conference, in which at this time we  
18 began to look at linking some of the science issues  
19 with policy. And then, of course, in 2005 and 2006,  
20 emerged the first really serious, serious debate by  
21 major authoritative bodies -- the BEIR VII report and  
22 the French Academy of Sciences.

23 Both panels are -- both reports were  
24 written by arguably the top people in the world on  
25 low-dose radiobiology and understood the problem.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 They essentially looked at the same data and came to  
2 diametrically opposed conclusions.

3 The heart of a scientific debate is honest  
4 difference of opinion. And I think that the  
5 differences between the BEIR VII report and the French  
6 Academy report highlight what we really don't know  
7 about the science, and how much more it is that we  
8 need to learn about.

9 And then, this year, the ICRP 103 report  
10 came out. EPRI is currently revisiting its issue that  
11 it introduced back in 1988, looking at economic as  
12 well as social implications of the LNT debate, in  
13 addition to science.

14 This meeting, of course, is going to be  
15 doing much the same thing, and then, of course, next  
16 week the NCRP is also going to be looking at these  
17 questions.

18 So, in summary, the debate has  
19 transitioned from a purely scientific argument to one  
20 which includes both social and economic factors.

21 Next slide, please.

22 The LNT problem -- there are three basic  
23 elements to the problem, as I see it. One, scientific  
24 questions. There is new radiobiology, which has --  
25 it's not so new now. There's -- some of the data is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 10, 15 years old. But there is new stuff coming out  
2 all the time questioning the assumptions of LNT.

3 There is lack of conclusive scientific  
4 evidence at low doses below 100 millisieverts to  
5 eliminate competing theories, and this I think is very  
6 important.

7 Now, I've gotten arguments before. Yes,  
8 there is data below 100 millisievert. And if you  
9 believe that data, you know, that's -- you know, that  
10 certainly adds to the debate. But I think when you  
11 look at the majority of the data, at low doses below  
12 100 millisievert, there is a paucity of statistically  
13 significant risk information there.

14 Economic costs -- there are enormous costs  
15 to reducing dose when the benefits are uncertain. We  
16 are confronted with this with waste management -- a  
17 very, very serious problem. I worked with the  
18 National Academies on the waste isolation pilot  
19 project and -- or the waste isolation pilot plant, and  
20 the costs to isolate waste there, characterize the  
21 wastes, are just absolutely incredible.

22 And you asked, "For what end? What's the  
23 benefit of doing that?" And it's unclear.

24 The social costs -- the notion, as  
25 Commissioner Lyons had pointed out, that any dose, no

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 matter how small, is associated with the risk. That  
2 the general public concludes from this that there is  
3 no safe dose. And, again, because it's federal  
4 policy, then the conclusion from the Federal  
5 Government is that the Federal Government doesn't  
6 believe that there is no safe dose, and that any dose  
7 is potentially harmful.

8 Next slide, please.

9 The low-dose problem is interesting. I  
10 sort of like to draw the analogy from cosmology where  
11 cosmologists talk about the singularity. And the  
12 singularity is essentially all about what happens to  
13 laws of physics as we know them when you hit the event  
14 horizon. And essentially at the event horizon  
15 physical laws tend to lose meaning.

16 Well, I like to draw the analogy that when  
17 you get down to very, very small doses of ionizing  
18 radiation on an LNT, or even a curvilinear model, when  
19 you get down very, very close, are we approaching a  
20 radiobiologic singularity? In other words, the kinds  
21 of events that are occurring really cannot be  
22 predicted or understood in any way based on what it is  
23 that we know at higher doses.

24 So it's an interesting concept. When the  
25 dose approach is zero, we have a problem understanding

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 what is going on. Now, there is a lot of research,  
2 primarily funded by the Department of Energy low-dose  
3 program, which I might add Commissioner Lyons was  
4 instrumental in helping secure this funding through  
5 Senator Domenici's office back in I think it was about  
6 the year 2000 or 2001. So he has played an important  
7 role in getting research dollars available for this  
8 kind of research, but we are learning more and more  
9 about what is going on at very, very small doses.

10 And what we can say with a high degree of  
11 certainty is that what is happening at low doses is  
12 different than what is happening at high doses. And  
13 that causes a problem in terms of how we use LNT,  
14 because what LNT -- the theory would predict -- is  
15 that mechanisms ought to be the same, and that the  
16 only thing that is varying is the dose, and that's  
17 what the predictor of risk is going to be.

18 But if at high dose we are seeing certain  
19 radiobiologic effects that are different than what is  
20 going on at low dose, it makes interpretation of risk  
21 rather difficult.

22 If we can go to the next slide, please.

23 I have a -- I'm anal, let me put it that  
24 way. I'm anal about definitions, and particularly  
25 about definitions of theory, models, and hypothesis,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and as they pertain to LNT. And the reason why I  
2 think this is important is because we can't advance  
3 the debate unless we have a clear understanding about  
4 what LNT is and what it isn't.

5 LNT is not a model, and LNT is not a  
6 hypothesis. LNT is a theory. Hypotheses are  
7 questions that we ask about theories. In other words,  
8 you can ask a whole array of hypotheses or questions  
9 as hypotheses that question the LNT theory. For  
10 instance, one could ask a question about: is the data  
11 consistent with linearity? Is the data consistent  
12 with a threshold dose? And these all go back  
13 ultimately to asking the question: can I support LNT  
14 as a theory?

15 On the other hand, models -- and there was  
16 a recent National Academy report on this -- models are  
17 conceptual or actual physical constructs that describe  
18 some type of theory. But the model operates on the  
19 basis that the theory is there. So when we talk about  
20 climate models or the like, the underlying theory is  
21 energy processing, Second Law of Thermodynamics,  
22 things of that nature. There is lots of different  
23 models that one can use to support the Second Law of  
24 Thermodynamics. There's all sorts of different models  
25 that one can use to support the LNT theory.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           So what I'm saying is that we need to  
2 think about LNT as a theory, because then we can begin  
3 rationally to talk about, well, how do we begin to  
4 discuss the appropriateness of LNT versus hormesis  
5 versus linear quadratic versus quadratic? Because  
6 ultimately what we're trying to do -- in the utopian  
7 view, what we're trying to do is eliminate everything  
8 else and come up with one theory, whatever that is.

9           You can't do that if you're talking about  
10 hypotheses. You can't do that if you're talking about  
11 models. What we need to do in the Popperian sense is  
12 that we need to collect data that will not necessarily  
13 prove a particular theory, but it will be used to  
14 disprove candidate theories.

15           And Popper, who was a very well-known  
16 philosopher of science and his treatise on  
17 falsification of theories, and what not, I think is  
18 worth reading for anyone who is interested in the LNT  
19 question, because it's the nature of the scientific  
20 data and how it can be applied to candidate theories  
21 that is going to help us answer the particular  
22 question.

23           Can we go to the next slide, please?

24           I'm not going to spend any time on this,  
25 but here is just a little schematic of the different

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 kinds of dose -- the different dose-response theories  
2 that we took -- take a look at. The take-home message  
3 here -- we have lots of data at the high-dose end.  
4 That doesn't help us because all of the candidate  
5 theories essentially converge there.

6 So the data are really very -- are not  
7 very helpful in helping us distinguish one theory from  
8 another. Where we need data, and where we don't have  
9 a lot of statistically significant risk data, is at  
10 very, very small doses, whereas you can see at the  
11 origin now you have divergence of the theories, and we  
12 can better take some -- a clear path as to determine  
13 which theories are acceptable and which theories can  
14 be eliminated.

15 Next slide, please.

16 I'm sort of running out of time, aren't I?  
17 How much time do I have, Mr. Chairman?

18 CHAIRMAN RYAN: You have to 9:15.

19 DR. MOSSMAN: Through 9:15. Okay.

20 CHAIRMAN RYAN: Leaving time for  
21 questions, please.

22 DR. MOSSMAN: Okay. Fine, thank you.

23 There are some data from -- just to  
24 illustrate how you can fit various theories to  
25 scientific data. This is data from the Radiation

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Effects Research Foundation, the life span study.  
2 It's not looking at cancer; it's looking at non-cancer  
3 disease. But the point still -- is still valid, is  
4 that at very small doses there is some difficulty in  
5 trying to determine which theories are acceptable and  
6 which ones are not.

7 And, obviously, depending upon which  
8 theories you choose, the risk estimates that you are  
9 going to predict at small doses are going to be very,  
10 very -- are going to be very different. And I might  
11 add -- in looking back at the BEIR VII report, it is  
12 too bad that they didn't follow the model that was  
13 used in the BEIR III report.

14 And the BEIR III report, which was  
15 published in 1980, came under a lot of criticism,  
16 because they couldn't focus on a single dose-response  
17 theory. What they did was they provided risk  
18 estimates for a linear no-threshold theory, for a pure  
19 quadratic theory, and for a linear quadratic theory,  
20 and they provided risk estimates.

21 In retrospect, what a beautiful thing to  
22 do, because that's what the policymakers need. You  
23 know, we can't -- we can't provide the science that is  
24 going to distinguish one theory from another. But  
25 what the authoritative bodies ought to be doing --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 like the BEIR committees, like ICRP, like NCRP -- they  
2 are staffed, and they have sitting on their councils  
3 the top people in the world, who know more about this  
4 stuff than anybody.

5 What they ought to be able to do is  
6 provide a pallet, if you will, of options that are  
7 each scientifically defensible, and allow the  
8 policymakers to work with that.

9 And, in retrospect, I wish BEIR VII would  
10 have done that. They didn't. But if there is to be a  
11 BEIR VIII, or a BEIR IX -- and I don't know whether  
12 there is or not -- I hope that they will revisit the  
13 BEIR III model and ask the question: do we want to go  
14 back to this? Because that's really what the  
15 policymakers need.

16 And, frankly, the BEIR VII report and  
17 these other reports are written in part for  
18 policymakers. They are written in part for people who  
19 are going to be making some decisions, in addition to  
20 regulators in various government settings, radiation  
21 safety officers, other people who actually manage  
22 risk, and things of that nature.

23 Next slide, please.

24 The collective dose problem I have already  
25 mentioned. And, again, I focus on my -- on my last

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 bullet. If the individual isn't harmed, then the  
2 population isn't either. Collective dose has utility.

3 Its utility is not in determining public health  
4 impact. Its utility is in establishing trends  
5 analysis of doses in a particular occupational  
6 environment.

7 So in trying to determine whether a  
8 particular ALARA program is effective not, it is  
9 useful to calculate collective dose, the sum of doses  
10 in the exposed population at various times, and look  
11 at what is happening to the collective dose, without  
12 inferring anything about risk. That's a useful way to  
13 utilize collective dose. But because population risks  
14 are poorly defined, particularly at small doses, there  
15 are significant limitations.

16 Some of you may be familiar with a recent  
17 paper by David Brenner and Eric Hall that appeared in  
18 New England Journal, I think it was in October or  
19 November of last year, where they were looking at CT  
20 doses. It received a lot of public press, and I don't  
21 know about your local papers, but in our local papers  
22 in Arizona there was a good deal of fear that was  
23 engendered about whether I should get a CT exam or  
24 whatever.

25 No question, doses are too high. I can

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 tell you that the American College of Radiology has  
2 been looking at this problem for a long time. In  
3 fact, they put out a very important white paper in  
4 their journal, I think in May or July -- May or June  
5 of last year -- that essentially recognized the  
6 problems that we're having with high-dose CT, the  
7 problem with multiple studies, and whether these are  
8 appropriate or not. That's the problem.

9           Calculating risks, where for the most part  
10 the risks are very small, and engendering fear because  
11 they are calculating a total cancer mortality burden  
12 of something of the order of two to three percent in  
13 the U.S. population, is, in my view, an inappropriate  
14 application of collective dose, and does nothing to  
15 advance what the fundamental problem is. And the  
16 fundamental problem is: how do we deal with large  
17 doses in CT studies? So collective dose is an issue  
18 that we need to be cognizant of.

19           Risks are uncertain at doses below 100  
20 millisievert, although as I mentioned before there are  
21 some studies. The most important one perhaps is the  
22 Oxford childhood cancer survey that was begin in the  
23 mid-1950s that shows, or purports to show, that at  
24 doses of the order of one to five rad there is an  
25 elevated risk in children who are exposed in utero.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           Those studies have been the subject of  
2 very careful analysis.     It's unclear to many  
3 epidemiologists what the nature of causality is, but  
4 there are still others who believe that this is a very  
5 real effect.   It has stood up the test of time.   It is  
6 an important study.   To my mind, it is unclear to me  
7 what the relevance is of an exposure in utero to an  
8 exposure of an adult in a powerplant situation.   But,  
9 you know, that kind of issue needs to be I think fully  
10 resolved.

11           So down to 10 -- to 50 millisievert may be  
12 an area where we need to look much more closely, and  
13 hopefully the DOE low-dose program can provide us with  
14 some useful scientific information at that level.

15           Next slide.

16           Let me look -- next slide, please.   Sorry.

17           Thank you.

18           Let me look very quickly at the economic  
19 impacts, and this is from a very, very narrow view --  
20 one study.   And I'm looking forward to Professor  
21 Hammitt's discussion of the economic questions when he  
22 is here tomorrow.

23           This is some data from the General  
24 Accounting Office from 2000.   And, again, I applaud  
25 Commissioner Lyons and his boss at the time, Senator

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Domenici, who commissioned the Government Accounting  
2 Office to look at questions about economic impacts of  
3 LNT.

4 Senator Domenici recently received an  
5 award I think from the Health Physics Society, and it  
6 is well deserved, because he is a member of Congress  
7 who really, really does understand the science and  
8 knows what questions that need to be asked. And,  
9 certainly, the economic question is an important one.

10 And here I illustrate the -- at the Nevada  
11 test site, the costs of cleanup -- and these are data  
12 from the General Accounting Office -- where we --  
13 where we limit the dose down to about .15 rem -- 15  
14 millirem a year, .15 millisievert per year.

15 As you may recall, there is an ongoing  
16 controversy between the U.S. Nuclear Regulatory  
17 Commission and the EPA as to what the appropriate  
18 cleanup should be. Should it be .25 millisievert, as  
19 the Commission would argue? Or should it be .15  
20 millisievert, as the Environmental Protection Agency  
21 would argue?

22 As a classical radiobiologist, frankly,  
23 from a public health and environmental perspective,  
24 there is no difference between those numbers.  
25 However, there is a very, very significant economic

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 difference, and that is what's illustrated -- that's  
2 what's illustrated here on this slide. That once one  
3 gets down to doses that are very, very close to  
4 natural background, you're cleaning up to natural  
5 background, and the costs are extraordinarily high.

6 And one needs to ask, when you are going  
7 to allocate public funds in this way, what is the  
8 benefit? You know, I'm the first to say, if there is  
9 a need for cleanup, absolutely, let's allocate the  
10 money. But then, we need to look very carefully at  
11 the cost-benefit equation and at what point are we  
12 just throwing away money for very little return.

13 I would strongly recommend Associate  
14 Justice Steven Breyer's little book that he published  
15 in 1993 called Breaking the Vicious Circle on  
16 regulatory law, where he talks specifically about  
17 getting down to very, very small doses of anything.  
18 And when you regulate down to those levels, the costs  
19 can be enormous, and you need to very carefully look  
20 at what the benefits are from these large  
21 expenditures.

22 The social impacts -- of course,  
23 radioactive -- next slide, please.

24 Radioactive waste disposal, well-known  
25 "not in my backyard" philosophy, there are significant

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 questions. Particularly now at Yucca Mountain the  
2 Commission is likely to receive an application from  
3 the Department of Energy any month now for the Yucca  
4 Mountain facility. And the Commission will be looking  
5 very carefully at public health and environmental  
6 risks.

7 And no doubt there will be many special  
8 interest groups that will also be challenging the  
9 Department of Energy to be sure that if this facility  
10 is to be licensed that environment and public health  
11 questions are completely and thoroughly answered.

12 Mammography and CT imaging continues to be  
13 a problem. We have now reached a point -- and I think  
14 at the NCRP annual meeting last year Fred Mettler made  
15 a very -- a very important presentation on where  
16 medical exposures now sit in the grand scheme of  
17 exposures to the U.S. population. And medical  
18 exposures now are by far the vast majority of sources  
19 of exposure.

20 To give you an example of how serious the  
21 problem has become -- in 1980, there were only about  
22 three million CT scans that were done in the United  
23 States. And last year there was something like 60  
24 million. And I'm not going to sit here and argue that  
25 these weren't justified, because I'm not a physician

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and can't tell you that.

2 But whatever the justification question  
3 was, the enormous increase in numbers has got to give  
4 us pause, particularly when doses are very high. And  
5 that's why I made my comment about the Brenner and  
6 Hall study, that we need to be very careful about what  
7 we saw about public health risk, although they were  
8 right on the nose when they said -- and they have  
9 repeated things that have been known for decades --  
10 that doses from CT are high, and that we need to take  
11 care of that.

12 So the social impacts are considerable,  
13 and what we want to avoid is in the medical arena  
14 patients declining radiographic examinations because  
15 of fear of radiation, where declining such  
16 examinations may have a significant impact on disease  
17 diagnosis and treatment management.

18 So with that, let me turn to my last  
19 slide, and then I will open this up for questions.  
20 I'm sure you have many.

21 And here are a few questions that I would  
22 like to challenge the group with. One is -- is the  
23 LNT question even answerable? In other words, are we  
24 ever going to be able to -- and what I mean by  
25 "answerable" is, are we going to be able to get enough

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 robust, statistically significant scientific data at  
2 small doses that we can in the Popperian sense falsify  
3 candidate theories, so we're left with one, whatever  
4 that theory is.

5           It could be hormesis, which means that  
6 there is a threshold somewhere. It could be LNT, and  
7 all of the -- all of the scientists in the  
8 establishment have been right all the time. Or it  
9 could be curvilinear, or it could be something else.  
10 I mean, what muddies the water, of course, is that we  
11 already know from epidemiology that for several cancer  
12 types the dose-response curve is different already. I  
13 mean, if you look at certain kinds of leukemias, it's  
14 curvilinear. If you look at breast and thyroid, it's  
15 linear. If you look at bone, it's threshold.

16           So we already know from a substantial  
17 amount of epidemiologic data that there is already  
18 difference in models -- in theories. So one of the  
19 questions that I think we are going to need to answer,  
20 certainly in terms of the scientific questions: is it  
21 even answerable?

22           Now, I may sound pessimistic, and to a  
23 degree I am, but that doesn't mean that we shouldn't  
24 go after the studies and do them anyways. We still  
25 need to understand what's going on at low doses from a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 scientific perspective.

2 I'm a health physicist. Some of the other  
3 people around here are health physicists, too. We  
4 essentially manage small doses. We are professionally  
5 better if we understand better what is going on at  
6 small radiation doses.

7 So if, in fact, we don't get anything  
8 resolved with regard to the LNT debate, nonetheless  
9 the more information that we have about what is  
10 happening is going to be very, very useful. So I  
11 would certainly strongly encourage we do that.

12 What is the lowest dose associated with  
13 statistically significant radiogenic cancer risk?  
14 Current debate. The Health Physics Society put its  
15 foot in first, said it's 100 millisievert, and then  
16 there has been arguments ever since. Why is this  
17 important? Because I think it's an important trigger  
18 in resource allocation.

19 I mean, once we understand -- what are the  
20 significant risks? There are some epidemiologists who  
21 would say -- and I don't necessarily ascribe to this  
22 in this case, but they would argue, if I can't measure  
23 the risk, is the risk worth even worrying about?

24 Well, I don't know that that's necessarily  
25 a philosophy that I would want to follow, but

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 nonetheless that's a view that's out there. So how we  
2 -- what triggers that we use to allocate resources  
3 depends on how well we can measure the risk. Because  
4 otherwise, if we can't measure risk very well, then we  
5 are almost blindly allocating resources to try to  
6 reduce risks that we can't measure. And that, I  
7 think, is a significant problem.

8 Can low-dose radiobiology answer the  
9 threshold question? Well, I think that that goes to  
10 the heart of the LNT question as to whether it's  
11 arguable, but certainly the threshold question is at  
12 the heart of whether hormesis has any validity. There  
13 are arguments that even if there is a threshold, does  
14 it really impact the way we do radiation protection?  
15 There are people that would argue, no, it won't.

16 What are the economic and social costs of  
17 using an LNT-based system of protection? The GAO  
18 report in 2000 was certainly a good start, but I think  
19 we need more such reports. We need more efforts to  
20 determine, what are the economic impacts? What are  
21 the social impacts?

22 And what does this mean? That means we  
23 need to recruit economists, we need to recruit  
24 cultural anthropologists, we need to recruit  
25 psychologists, we need to recruit risk analysts, other

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 people who we normally don't converse with, other  
2 people who we don't normally get involved with, to  
3 help us learn a little bit more about what some of  
4 these issues are, because, again, my view is that the  
5 economic and social costs are actually the key drivers  
6 in the whole debate.

7           And then, finally, it's an issue I have --  
8 for those of you that are unaware, I have a book that  
9 I published last year, Radiation Risks and  
10 Perspective, in which one of the big issues that I  
11 promote is this notion of abandoning the risk-based  
12 system of protection and going straight back over to  
13 dose-based system of protection.

14           The Commission is essentially doing that  
15 anyways. You have a dose limit, and you measure  
16 doses, and you determine whether, you know, you are  
17 sufficiently far enough from the dose limit that you  
18 don't have to use administrative controls and things  
19 of that nature.

20           I used to be a radiation safety officer.  
21 Not one time in my 15 years of doing it did I ever  
22 calculate risk, because I didn't need to. What I  
23 needed to calculate was dose and look at my ALARA  
24 program in terms of dose. So in terms of my own  
25 operational situation, I didn't have to measure risk.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 What I really needed to know was dose, and that's  
2 what really was important.

3 So it's an interesting -- it's an  
4 interesting idea, because then the LNT question goes  
5 away, because then we don't have to worry about  
6 calculating risks. Then, we don't have to worry about  
7 explaining to people what the risks are when we don't  
8 know what the risks are at small doses. And it  
9 certainly might help ameliorate the social and  
10 economic questions.

11 So with that, I stop. I thank you for  
12 your attention, and I'm more than -- I will turn it  
13 back over to the Chairman.

14 Thank you, sir.

15 CHAIRMAN RYAN: Thank you, Dr. Mossman.  
16 We'll have a panel discussion of all presenters at  
17 9:30 this afternoon, so we'll maybe save interactive  
18 question and answers for that time.

19 Just one comment. I want to clarify a  
20 point that this Committee has written on regarding  
21 collective dose. We have I think stated that  
22 collective dose for the purpose of work planning is a  
23 very useful tool, and I want to emphasize that, that  
24 for example, in our work practice 1 versus work  
25 practice 2 or 3, for a group of individuals conducting

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 an assignment may, in fact, be a very good way to  
2 judge work practices, tools, equipment, whatever it  
3 might be, and the Committee has stated that.

4 And I think you implied it, but I wanted  
5 to be explicit about --

6 DR. MOSSMAN: Yes. Thank you for  
7 clarifying that.

8 CHAIRMAN RYAN: -- is an excellent way to  
9 sue collective dose, but it's a relative comparison of  
10 one activity versus another. It's not an absolute  
11 estimate of risk, but I want -- and I'm pretty sure  
12 you agree with that.

13 DR. MOSSMAN: No. Absolutely.  
14 Absolutely, thank you.

15 CHAIRMAN RYAN: That's one thing I wanted  
16 to make sure that we're clear on the record.

17 We do have just a couple of minutes, if  
18 there are any comments from the Committee at this  
19 point. Or do you want to just press on?

20 PARTICIPANT: Jerry has got a question.

21 DR. PUSKIN: Can I ask, what do you mean  
22 by dose-based standard versus --

23 CHAIRMAN RYAN: Jerry, if I may, I'm going  
24 to defer questions to Ken individually until we get to  
25 the panel discussion, if I may, because I want to make

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 sure we get all of the speakers in. If we start, we  
2 might not get through too much in five minutes, if  
3 that's all right.

4 Yes, Dr. Tenforde.

5 DR. TENFORDE: May I make just one comment  
6 and amplification of Dr. Mossman's calculation of  
7 economic impact versus cleanup target doses at the  
8 Nevada test site. And that is, NCRP published  
9 Report 146 in 2004 that deals with very specific  
10 issues on differences in target doses for remediation  
11 of contaminated sites.

12 And it is extremely interesting to compare  
13 the underlying assumptions in the NRC recommendation  
14 of .25 millisievert versus the EPA recommendation for  
15 cleanup of .15. The EPA's recommendation is largely  
16 based on a resident farmer who eats produce from the  
17 site, drinks the water, etcetera, whereas the NRC goal  
18 is based on a suburban resident, 30-year suburban  
19 resident.

20 Those are very different underlying  
21 assumptions, and lead to some different conclusions on  
22 target doses for cleanup that actually, when you look  
23 at them from the higher level, really are not very  
24 different, because they are driven more by the  
25 underlying assumptions on land use, ultimate land use.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           So I think that is a very important factor  
2 to keep in mind, and I highly recommend to those of  
3 you interested in this issue to look at NCRP  
4 Report 146.

5           Pardon me for doing that --

6           CHAIRMAN RYAN: That's okay. That's fine,  
7 Dr. Tenforde.

8           DR. TENFORDE: I wanted to point that out.

9           CHAIRMAN RYAN: We appreciate your  
10 comment.

11           Jerry, if you do have one quick question,  
12 maybe we could fit it in now.

13           DR. PUSKIN: I just wanted to know what  
14 you meant by dose-based regulation versus risk-based,  
15 since I think all regulations that I know of are risk  
16 -- are dose-based in the sense that they are defined  
17 as a dose limit or concentration limit or some  
18 exposure limit. And I don't -- I just wonder what you  
19 mean -- what would be the change? I guess --

20           DR. MOSSMAN: Well, in part, it's not --  
21 the NRC dose limits are not really dose limits,  
22 because you are factoring in weighting factors that  
23 are based on risks. So, in other words, the tissue  
24 weighting factors are a portion -- are fractions of  
25 the total risk that can be applied to a particular

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 tissue.

2 So, in fact, they do include risk  
3 information in the dose limit calculation. When you  
4 say -- when you say one millisievert a year, or 50  
5 millisievert a year, the fact that you are using the  
6 millisievert is a dose -- as a measure of dose  
7 includes the weighting factors, which are risk-based.

8 So those are risk-based.

9 What I'm saying is we should eliminate  
10 that and use just straight dose to the absorbed organ  
11 or to the target organ. If it's the whole body, then  
12 it would be the whole body. So don't factor in risk  
13 at all there.

14 DR. PUSKIN: Let me just ask one question,  
15 then. Let's suppose the dose were entirely in the  
16 lung. What would you allow? How much would you  
17 allow, just in the lung, as compared to the whole  
18 body?

19 DR. MOSSMAN: Well, I wouldn't change the  
20 dose limits, because as I pointed out earlier in my  
21 talk, the dose limits don't have anything to do with  
22 risk anyway. The way I would manage the system is  
23 that I would use -- I would use some reference level,  
24 either from natural background or whatever, as a basis  
25 for comparison to the dose that was actually received

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 in the occupational setting or whatever it might be.

2 DR. PUSKIN: So you would allow just as  
3 much to one organ as you would allow to the whole  
4 body.

5 DR. MOSSMAN: No, I didn't say that. No,  
6 I didn't say that. All I'm saying is that the limits  
7 -- the limits are not based on any information that we  
8 have on risk. I mean, all -- the limits were  
9 established before we had any really good handle on  
10 risk estimates as we do today.

11 CHAIRMAN RYAN: Let's pick up that  
12 discussion, if we can, when we have the general panel  
13 discussion.

14 Dr. Le Guen, did you have one quick  
15 question?

16 DR. LE GUEN: Yes. No, it would be a  
17 quick comment. Of course, about collective dose, I  
18 would agree with you, because the problem is not to  
19 use or not to use a collective dose. Of course, we --  
20 in a nuclear powerplant we monitor the collective  
21 dose.

22 The problem is when you want to predict  
23 the future risk for this group, and particularly to  
24 assess the number of cancer. So the problem with the  
25 LNT now is management of risk.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I would like just to take an example about  
2 CT scan. From my point of view, if today we have a  
3 large decrease of the dose received by nuclear  
4 workers, it is because we have a good ALARA approach.

5 For CT scan, it is exactly the same approach.

6 The problem is because we must take into  
7 account two other parameters -- medical benefits and  
8 age of patients. So from my point of view, the good  
9 question is how to avoid to the most sensitive  
10 populations, for the children, to avoid non-useful  
11 radiation? And I think the best way is then to try to  
12 assess and try to have a lot of faith to the  
13 population with this kind of approach.

14 That's all.

15 CHAIRMAN RYAN: Thank you, Professor.

16 With that, we're at the point of inviting  
17 Dr. Tenforde, President of the National Council on  
18 Radiation Detection and Measurements, to provide us  
19 with his insights.

20 Dr. Tenforde?

21 DR. TENFORDE: I'll bring this a bit  
22 closer, so that I project.

23 CHAIRMAN RYAN: You don't have to move it.

24 It will be just fine where it is.

25 DR. TENFORDE: I see.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RYAN: It's high tech.

2 DR. TENFORDE: Very high tech. Thank you.

3 Well, let me begin by thanking Chairman  
4 Ryan and Neil Coleman and the other organizers of this  
5 working group meeting for inviting NCRP to  
6 participate. I think this is a very important  
7 subject, and I think this is a very timely workshop  
8 that you're hosting.

9 Next slide, please.

10 What I would like to cover are several  
11 issues that do relate to the theme of the workshop.  
12 First, let me just say a few words about the role of  
13 NCRP, and I will ultimately describe some of our  
14 current and future activities related to understanding  
15 low-dose radiation effects.

16 I will briefly talk about the rationale,  
17 some key research issues that I feel need to be  
18 addressed, and the public policy and regulatory  
19 implications of having a better science base for  
20 judging models of --

21 CHAIRMAN RYAN: Dr. Tenforde, excuse me.  
22 Have we had somebody join the bridge line?

23 MR. BRUCEMAN: Yes. This is Carl  
24 Bruceman.

25 CHAIRMAN RYAN: Carl, thank you for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 joining us.

2 We'll return to Dr. Tenforde's  
3 presentation. Excuse me, Dr. Tenforde.

4 DR. TENFORDE: That's quite all right.

5 And then, I want to give you an overview  
6 of NCRP's near-term and longer-range plans in the area  
7 of evaluation of low-dose radiation effects and  
8 models, and then, finally, make a few concluding  
9 remarks.

10 Let me say at this point that although  
11 this presentation is based on my own slides, I have  
12 built very much on several months of strategic  
13 planning by NCRP. We have just issued our triennial  
14 strategic plan for 2008 to 2010. Much of what I say  
15 is consistent with the scientific goals and thrusts  
16 described in that plan. It is also consistent, I  
17 believe, with the content of next week's NCRP annual  
18 meeting on low-dose and low-dose rate radiation  
19 effects and models.

20 And I believe, also, much of what I will  
21 say is consistent with the current thrusts and themes  
22 of the DOE low-dose program, which I think is a very  
23 important, new -- well, not so new, but a very  
24 important research area. And so that will be largely  
25 the basis of my comments.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I will state at this point that at this  
2 time NCRP does not have a firm position on the LNT  
3 model or theory as Dr. Mossman has described it. We  
4 are, I would say, very open-minded in terms of  
5 alternative models of radiation response, and a major  
6 thrust of our future work will be in analyzing  
7 scientific information and building a framework upon  
8 which hopefully we will be able to better judge  
9 appropriate models of radiation dose response,  
10 including of course LNT.

11 So that's somewhat of a disclaimer. I  
12 will mention LNT at a number of points during my  
13 presentation, but more in the context of scientific  
14 issues that must be addressed in order to more  
15 appropriately and adequately assess LNT.

16 Next, please.

17 Well, NCRP, in brief, was originally  
18 formed in 1929 as the U.S. Advisory Committee on  
19 Radium and X-Ray Protection, and in 1946 became the  
20 National Committee on Radiation Protection and  
21 Measurements. The change was largely driven by the  
22 many new types of radiation, such as neutrons that had  
23 to be considered after the A-bomb detonations.

24 And then, in 1964, under Public Law  
25 88-376, NCRP was formally chartered as a non-profit

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 organization to provide national guidance on radiation  
2 protection and measurements. In the Public Law, there  
3 are four primary elements of NCRP's mission -- first,  
4 provide information and recommendations on protection  
5 against radiation and radiation measurements  
6 quantities and units; and, secondly, to develop the  
7 basic concepts of radiation protection that underlie  
8 these recommendations.

9 We are also in our mission mandated to  
10 facilitate effective use of the combined resources of  
11 organizations, both in the U.S. and worldwide, that  
12 are concerned with radiation protection issues. I put  
13 the first two in red because they are particularly  
14 relevant to some of our current and future thrusts in  
15 the area of low-dose radiation effects.

16 Next, please.

17 Now, I think there would be little  
18 argument that there are several main drivers that  
19 underlie the need for a better understanding of low-  
20 dose radiation effects. First of all, as has already  
21 been said, our current knowledge is largely based on  
22 higher dose laboratory and human exposure data. And  
23 the conclusions that can be drawn from epidemiologic  
24 data on low-dose exposures, let's say less than 100  
25 millisievert, or some people will say 50 millisievert,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 are rather limited.

2 And, of course, with human populations you  
3 have confounding factors, such as diet, lifestyle,  
4 smoking, etcetera, that complicate the interpretation  
5 of the data that's available. There are a lot of  
6 studies on individuals that have been exposed to low  
7 doses -- occupationally, medically, in the subset of  
8 A-bomb survivors who were in relatively low exposure  
9 areas, and a variety of other populations have been  
10 studied. But it has been very difficult to draw  
11 conclusions.

12 Yes?

13 CHAIRMAN RYAN: I'm sorry. Is somebody  
14 dialing a telephone? Anybody new join the bridge line  
15 that hasn't signed in?

16 (No response.)

17 Sorry.

18 DR. TENFORDE: That's quite all right.

19 Third, it is important to understand low-  
20 dose effects. Obviously, through improved work  
21 practices, especially over the last couple of decades,  
22 the radiation exposure under occupational conditions  
23 is generally quite low. And largely the regulations  
24 are based upon extrapolation and models or theories  
25 that are based on information obtained from high-dose

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 exposure situations in the laboratory or in human  
2 populations.

3 And there is clearly, I think we would all  
4 agree, a need to close the gap in scientific knowledge  
5 on low-dose versus high-dose effects, and evaluate the  
6 implications of this improved knowledge base for  
7 radiation exposure practices and policies.

8 Next, please. Next? Thank you.

9 Let me now, just in a few slides, give  
10 some fairly high-level perspectives on key areas of  
11 research related to low-dose radiation effects and  
12 trying to develop this improved scientific framework  
13 for evaluating dose-response theories and evaluate  
14 effects and implications.

15 Clearly, the continuing and ongoing  
16 efforts in characterizing damage, repair, and  
17 misrepair mechanisms, and consequences of both  
18 cellular and integrated tissue levels, are extremely  
19 important, and at lower and lower doses.

20 Second, I can't emphasize strongly enough  
21 the importance of the work that is going on in  
22 characterizing so-called non-targeted effects. These  
23 include bystander effects, where say a single cell is  
24 hit but neighboring cells are influenced or killed as  
25 a result of the radiation of the individual cell. And

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 genomic instability is another non-targeted effect.

2 It has been argued by some that these  
3 could enhance the overall radiation effect and damage  
4 at very low doses. And these are being characterized  
5 at progressively lower doses. There are, of course,  
6 alternative effects, such as adaptive responses, that  
7 can counteract any adverse effects of non-targeted  
8 effects such as bystander effects or genomic  
9 instability. So it will be very difficult to analyze  
10 the tradeoff of these.

11 And I might point out, as Dr. Brooks, who  
12 headed the -- well, he was a consultant to the DOE  
13 research program and has argued very effectively that,  
14 as you get down to lower and lower doses, you do  
15 encounter signal to noise issues of extracting from  
16 the scientific data the true biological signal versus  
17 the background radiation in which the experiments are  
18 conducted.

19 So this is a very difficult area of  
20 research, but extremely important, because there may  
21 be some major implications in terms of dose-response  
22 theories and analysis of effects.

23 There are many modifying factors, and  
24 these are extremely important. It's not just DNA  
25 damage, but we know that there are a number of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 mechanistic factors that come into play that influence  
2 the ultimate expression of damage, and that includes,  
3 of course, repair enzymes and antioxidants, humeral  
4 factors such as hormones, and regulatory factors, and  
5 the extracellular matrix interaction with cells  
6 influences integrated tissue responses. We know that  
7 now very well from work that has recently been done.

8           And so we need to bear in mind that  
9 analysis of radiation damage and repair or misrepair  
10 really can be modified by a number of biological  
11 factors, as well as the physical damage to DNA and  
12 other cellular structures.

13           And then, extremely important is the  
14 analysis of dose and dose rate on exposure outcomes,  
15 and the differing effects of low and high LET. We  
16 know that in terms of relative biological  
17 effectiveness, high LET is generally much more  
18 damaging than low LET radiation.

19           These are modifying factors, physical  
20 factors, that must be taken into account in evaluating  
21 radiation damage and repair mechanisms.

22           Next, please.

23           Moving to laboratory animal studies, it's  
24 very important to use the wealth of data that has been  
25 acquired over the years, with support from DOE and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 many other sources, on various toxic effects. Not  
2 only cancer but non-cancer effects are getting more  
3 and more attention, such as cardiovascular effects,  
4 cataracts, nervous tissue influences.

5 And the relationship of these measured  
6 outcomes, adverse outcomes, to radiation sensitivity,  
7 genetic factors such as genetic susceptibility of the  
8 irradiated animal, or in the human case obviously the  
9 human organism, and then the damage mechanisms studied  
10 in vitro need to be taken into account in evaluating  
11 the results of animal studies.

12 And it's very important to expand the  
13 investigation of biological markers of radiation  
14 damage and recovery. Traditionally, we have used  
15 endpoints such as chromosome damage, but there is more  
16 and more focus on alternatives that have a lot of  
17 sensitivity related to protein and gene expression,  
18 molecular markers, gamma-H2AX, foci, near DMA, damage  
19 sites, and other powerful tools can be brought into  
20 play in this molecular biology that can be good  
21 markers of radiation damage and recovery patterns.

22 Next, please.

23 A very important direction that's being  
24 taken more and more is to look at damage in integrated  
25 tissues, organs, and whole organisms, using systems'

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 biology approaches to understanding radiation risk.

2 We know now that damaged individual cells,  
3 although an early event can be propagated through an  
4 integrated tissue, it can either be moderated in terms  
5 of enhanced or diminished and often diminished through  
6 mechanisms that are induced in an integrated tissue.  
7 And there's some excellent examples of this that have  
8 been worked through in laboratory systems and I think  
9 that the use of system biology concepts and approaches  
10 is becoming increasingly important.

11 And then again, it's very important to  
12 emphasize the need to evaluate injury and recovery  
13 from radiation after exposures to radiations of  
14 differing dose and dose rates and differing qualities.

15 Next, please.

16 Human health studies are on-going and  
17 important in the low dose regime. Of course, it is  
18 very important in the view of NCRP to attempt to use  
19 the wealth of information from laboratory animal  
20 studies for projection of risks in humans at the  
21 tissue and whole body levels. NCRP published, a few  
22 years ago, Report 150 on exactly this subject.

23 It turns out that in many cases the  
24 extrapolation of risk from laboratory animal models to  
25 humans can be done very well; mammary cancer, for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 example; hematopoeta cancers, and other end points in  
2 humans can be related quite well to appropriate  
3 laboratory animal studies. And I think this is a  
4 powerful tool that should be applied in analyzing low-  
5 dose effects.

6 And then interpretation of the outcomes,  
7 based on laboratory-based studies as they grow in  
8 number and wealth of information, I think it will be  
9 coming increasingly important to use this information  
10 to evaluate health outcomes in humans, including of  
11 course, as I mentioned before some of the new  
12 biological markers of radiation damage that are being  
13 developed through laboratory-based studies.

14 And then ultimately, of course, evaluation  
15 of modifying factors influencing radiation damage,  
16 repair and ultimate health outcomes is very important.

17 These are not only physical factors such as  
18 uniformity or non-uniformity of exposure, partial body  
19 or whole body, but of course, as I indicated earlier,  
20 in the human case you have to deal with confounding  
21 factors such as diet and lifestyle and other things  
22 that can significantly modify risk to radiation  
23 injury.

24 Next, please.

25 I think that as the scientific database

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 grows, there will be more and more need for critical  
2 risk modeling and dose-response modeling at tissue,  
3 organ, and whole-body levels. And again, I want to  
4 emphasize the very important analysis of factors that  
5 relate to dose, dose rate, and radiation quality on  
6 health outcomes.

7 Next, please.

8 Now where does all this ultimately lead  
9 us? In an ideal sense, we will be able to improve  
10 risk modeling, reducing uncertainties, and I think  
11 that this will be a very key application of the  
12 improved and greatly expanded scientific basis and  
13 framework, including again, I keep saying this, but  
14 it's very important to include the factors of  
15 radiation quality, dose, and dose rate. And the  
16 application of the results of laboratory-based studies  
17 and extrapolations to humans in establishing  
18 acceptable levels of exposure in both occupational and  
19 public settings will become, I think, more and more  
20 possible and more and more important as the database  
21 grows.

22 Next, please.

23 I think I've already said this basically  
24 that we need to use this improved scientific knowledge  
25 and framework to reduce the uncertainties in risk

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 estimates and improve radiation protection policies  
2 and practices, if indeed that proves to be an  
3 important thing to do. It's not absolutely clear  
4 that's necessary at this point, but as our knowledge  
5 grows, I think we will begin to understand better the  
6 limitations and possible need for improvement of our  
7 current policies, practices and regulations.

8 And ultimately, we want to resolve the  
9 question of whether, in fact, general conclusions can  
10 be drawn and predictive models developed for  
11 optimization of health protection in individuals that  
12 are in many cases chronically exposed to low doses of  
13 radiation that at or close to background levels.

14 Next, please.

15 I'd like to just now turn to some of the  
16 work recently done by NCRP that relates to low-dose  
17 radiation effects and then tell you about some near-  
18 term and longer-range plans that we have. I have  
19 already mentioned this important report published in  
20 2005 on Extrapolation of Radiation-Induced Cancer  
21 Risks measured in Experimental Systems to Humans.

22 Statement 10 looked at applications of  
23 NCRP public dose limits that were published in 1993 in  
24 various settings including, for example, the use of  
25 radiation in homeland security applications where

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 members of the public could be irradiated.

2 We've published the report that was  
3 mentioned by Commissioner Lyons and I believe also  
4 briefly by Dr. Mossman on evaluation of the linear-  
5 nonthreshold dose-response model for ionizing  
6 radiation. That was published in 2001 and I must say  
7 that this report has a very different character than  
8 BEIR VII 7 and other reports that have been published  
9 that relate to LNT, because basically the conclusion  
10 was drawn in this report that the evidence available  
11 through the late 1990s, that database was not  
12 sufficient to reject LNT.

13 On the other hand, it didn't form a strong  
14 basis for accepting LNT as a sort of a general theory  
15 of dose response. So this leaves the issue more or  
16 less up in question and really points to the need for  
17 a significantly expanded scientific database for  
18 drawing conclusions on LNT and I think that that's --  
19 that was a very appropriate conclusion at the time  
20 this report was developed under the chairmanship of  
21 Art Upton.

22 I believe that what we're seeing in the  
23 last few years is the evaluation of some factors that  
24 can modify dose response characteristics including, as  
25 I mentioned, non-targeted effects that need to be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 taken into account and these were really not studied  
2 very much at the time this report was developed. So  
3 there's a need for re-evaluation in this area.

4 We've also published report on fatal  
5 cancer risk estimate that are used in radiation  
6 protection.

7 Next, please.

8 Research needs for radiation protection  
9 was published shortly after Report 116 which is  
10 perhaps one of the most cited -- undoubtedly one of  
11 the most cited NCRP reports on limitation of exposure  
12 to the public and occupationally-exposed individuals  
13 to ionizing radiation. Report 115 lay the groundwork  
14 for this report 116 in estimating risk for radiation  
15 protection and some uncertainties in those risk  
16 estimates. And then earlier, we had published an  
17 important report on RVE for radiation of differing  
18 qualities.

19 Next, please.

20 Now moving to some near-term activities  
21 after about a year and a half of planning, we have  
22 scheduled for next week a very exciting annual meeting  
23 on low-dose rate and low-dose radiation effects and  
24 models and that will be here in North Bethesda,  
25 literally across the street at the North Bethesda

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Marriott Hotel, rather convenient location for those  
2 of you located in the Washington area because the  
3 Metro stop is right across the street. And those of  
4 you who have not yet registered or planned to come to  
5 the meeting, I would encourage you to do so. I think  
6 this will be a two-day meeting and we have many  
7 experts from the U.S. and internationally discussing  
8 important issues in low-dose and low-dose radiation  
9 effects, including an interesting dialogue or debate,  
10 if you will, between representatives of the BEIR VII  
11 report position versus the French Academy position.  
12 And that will be a debate moderated by Eric Hall. It  
13 should be very fascinating.

14           The program is available at this website  
15 and the sessions, in brief, will include discussions  
16 of molecular cellular tissue and animal radiation  
17 responses, human epidemiological studies. Dr. Land  
18 will be a speaker, thank you very much. And there  
19 will be a full session devoted to low-dose radiation  
20 effects, regulatory policy and impacts on the public.

21 I think many of you will find that to be of great  
22 interest.

23           And then, of course, as always, we will  
24 develop peer review proceedings and they will be  
25 published the following year, hopefully early in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 year in the Healths Physics Journal.

2 Next, please.

3 Now on the path forward, we have in our  
4 strategic plan a very ambitious plan to develop a  
5 definitive report on Biological Effects of Low  
6 Radiation Doses and Implications for Human Health and  
7 Radiation Protection.

8 There is in an early stage now the  
9 development of a detailed outline of the report and we  
10 will be submitting proposals to potential funding co-  
11 sponsors for this report with an anticipated starting  
12 date in 2010 and we do anticipate because of the  
13 complexity of this effort that it will be a four-year  
14 effort. And we want to go well beyond the simple  
15 analysis of existing information and drawing  
16 conclusions. We want to create a framework for using  
17 this scientific information in moving forward in  
18 radiation policies, practices, regulatory issues and  
19 it's a very ambitious plan.

20 Next, please.

21 And we anticipate that this will involve a  
22 relatively large committee. At NCRP, reports  
23 typically have drafting committees with 10 to 12  
24 scientists. We expect in this case we may have as  
25 many as 10 to 15 or even more scientists involved in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 all major aspects of basic radiation research,  
2 epidemiology, operational public health radiation  
3 protection and public policy and regulatory issues.  
4 We want to cover all these bases with the depth of  
5 expertise in the scientific committee that will draft  
6 the report. And we will, of course, reach out and  
7 consistent with our charter, we will engage experts  
8 from the international arena and we would like for the  
9 report ultimately to be one that can be placed in both  
10 national and international context.

11 Last slide, please.

12 Finally, these are some general concluding  
13 remarks. I think everyone here would agree that  
14 understanding the biological and human health effects  
15 of low-radiation doses is a major scientific challenge  
16 and a frontier that must be crossed.

17 I think that commitment has been made and  
18 it's very excellent to see the commitment of  
19 government agencies, DOE, NRC, NASA, and others in  
20 improving the scientific database on which to cross  
21 this frontier. And as discussed in our recently  
22 issued program plan which you can read and download  
23 from the NRC website, [NCRPonline.org](http://NCRPonline.org), the analysis of  
24 low-dose radiation effects is a major strategic area,  
25 a focal area of long-term effort by NCRP and as

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 always, we welcome input on our plans and our  
2 activities from interested scientists and regulators  
3 in the United States and worldwide.

4 And with that, I'll conclude my comments  
5 and would welcome any questions that you might have.

6 I believe I've left enough time.

7 CHAIRMAN RYAN: Plenty of time. We've got  
8 15 minutes.

9 Dr. Mossman.

10 DR. MOSSMAN: Thank you. Dr. Tenforde, I  
11 was interested in your comments on laboratory animal  
12 studies and the use of systems biology. I think that  
13 that's clearly a path in a number of areas of life  
14 science where system biology and engineering concepts  
15 are used and I trust what you mean by that is working  
16 in the context of cells as networks with feedback  
17 controls and the like.

18 But another area which I think is just as  
19 important is to explore emergency biology. If you  
20 think of cancer as an emergent property of cells, then  
21 a whole vista opens up, if you will, in terms of  
22 understanding cancer not so much as a cellular  
23 problem, but as a much larger reflection of  
24 complexity. For instance, the classic example is the  
25 brain where we essentially define emergence as that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 property where you can't predict brain function like  
2 thought processes, ideas, language, by looking at  
3 individual nerve cells. What you have to do is look  
4 at nerves in their collection in the brain. That  
5 emergent property, where you have these connections of  
6 individual units, that's the driver. And I think  
7 emergence becomes a really interesting concept that  
8 goes to the heart of this issue and I applaud the NCRP  
9 for taking this approach. I think it's very  
10 important.

11 DR. TENDORDE: Thank you, and I, in turn,  
12 will applaud DOE for supporting some very enlightening  
13 studies. I mean there's some excellent laboratory  
14 models now, for example, release of TGF beta from a  
15 few select radiated cells and the enhancement of  
16 kinase activity in the organized tissue and the  
17 resulting effects in terms of radiation response of  
18 the integrated tissue.

19 In a way, it's like propagation of signals  
20 and can be in many cases protective. Tissue responses  
21 may be collectively lower than individual cell  
22 responses studied in a petrie dish, for example. So I  
23 think and I like the term emergent biology because it  
24 does capture this idea in a very good way.

25 CHAIRMAN RYAN: Any other questions or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 comments?

2 MEMBER WEINER:: This is -- I'm going to  
3 save most of my questions for the panel at the end,  
4 but several people have mentioned the DOE low-dose  
5 responses, low-does response research facility. And  
6 perhaps this is a question for Dr. Barcellos-Hoff and  
7 not for the two panelists, but how do you get DOE to  
8 talk to each other and to bring these scientific facts  
9 into their other activities? And maybe that's a  
10 question that the panel can speak to.

11 DR. TENDORDE: Well, actually, there's a  
12 member of the audience who could probably best answer  
13 that, but let me give you my 20,000-foot level view.  
14 I think that DOE has been very open in their  
15 communications. For example, in January, they held  
16 their seventh investigator workshop which was open to  
17 everyone and I think a number of you attended that.  
18 It was very enlightening. I mean all the  
19 investigators presented the results of their work.  
20 There were some overview presentations. I thought it  
21 was very open and very informative and from the  
22 statements made by Dr. Orbach, the head of the Office  
23 of Science, I think ultimately as the data base grows  
24 the intent will be to integrate that information into  
25 DOE policies and practices and the communication, I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 think, with other organizations such as NRC has been  
2 very good and so hopefully this wealth of information  
3 that's being acquired in the DOE low-dose program will  
4 have a very broad effect across many government  
5 regulatory activities and policies and practices in  
6 the private sector, as well as in government.

7 So that's kind of my view as somewhat of  
8 an outsider, but I think two people here are better  
9 equipped to answer that and one, of course, is Dr.  
10 Barcellos-Hoff and the other is Dr. Noelle Metting,  
11 who is the manager at DOE of the low-dose radiation  
12 research programs. So I will leave it to these two  
13 ladies to respond.

14 DR. METTING: I'll just comment.

15 CHAIRMAN RYAN: Could you come to the  
16 microphone and tell us who you are?

17 DR. METTING: Hi, I'm Noelle Metting. I  
18 run the low-dose program. I'm in the Office of  
19 Science. And I think -- I'm not sure about your  
20 question, but I think you were also maybe implying  
21 that DOE doesn't talk to each other. And I talked  
22 with Health, Safety and Security all the time who is  
23 Andy Wallow and Ed Renier and I think that Office of  
24 Science, we're very interested in the excellent  
25 research which you will hear about when Mary Helen

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 gives her talk after the break. And I think that our  
2 health protection part of things, I think we're all  
3 trying to keep the communication open.

4 Thank you.

5 CHAIRMAN RYAN: Thank you very much.  
6 Well, with that, we're just a few minutes ahead of  
7 schedule, so everybody can enjoy a leisurely cup of  
8 coffee and we'll start promptly at 10:15. Thank you  
9 very much. We'll take a break.

10 (Off the record.)

11 CHAIRMAN RYAN: Everybody take their  
12 seats, please. Come to order, please. All right.  
13 Thank you.

14 Next on the agenda is Mary Helen  
15 Barcellos-Hoff. Dr. Barcellos-Hoff, welcome. Thank  
16 you for being with us.

17 DR. BARCELLOS-HOFF: Well, thank you very  
18 much for the invitation to speak today. I apologize  
19 for my tardiness this morning. I went to the wrong  
20 place, always pleasant way to start the day.

21 I'd like to begin by introducing myself  
22 just a little bit so you have a little bit of a notion  
23 of my background. I'm a Senior Scientist at Lawrence  
24 Berkeley National Laboratory. I've been there for  
25 over 20 years doing basic research in radiation

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 biology and breast cancer. I'm currently the Deputy  
2 Director of the Life Sciences Division, as well, which  
3 consists of about 50 investigators. And in 2007 or 6,  
4 Noelle Metting asked me to be the Chief Scientist for  
5 the Low Dose Radiation Research program, so I acted in  
6 an advisory capacity to Noelle, and to the program in  
7 organizing some of the research efforts. So what I'd  
8 like to do today is give you an overview of some of  
9 the research that's going on in this program.

10 Now, obviously, this is going to only be a  
11 snapshot because there are something on the order of  
12 80 different projects currently funded, multiple  
13 investigators, and very interesting areas of research.

14 And what I've decided to do today is to highlight  
15 some of the aspects of Radiation Biology that are  
16 probably considered to be a little bit newer. In  
17 fact, one of the things I'll do is highlight the  
18 publications that have occurred in the last couple of  
19 years in the very low dose region.

20 So with that, I'll try to operate  
21 everything. It's important to recall the goals of the  
22 DOE Low Dose Radiation Research program, was initially  
23 to, and remain, to understand the mechanisms action  
24 for low doses of radiation, to provide a scientific  
25 basis for radiation standards for the low dose region,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and to supply up-to-date information on low dose  
2 effects for researchers and the public. So one of the  
3 components of this, research program has always been  
4 communication, and many of you know Tony Brooks, who  
5 has operated in that capacity for nearly the entire  
6 reign of the program, which has been essentially nine  
7 years at this point in time. So I'm going to -- Tony  
8 also supervises the website for the program, so you  
9 can find a listing of all the projects that are  
10 currently funded projects, as well as publications and  
11 summaries.

12 It's important to recognize that over a  
13 nine-year period, the program has evolved. The  
14 initial focus was on low dose studies using single  
15 cell systems, which are essentially the standard of  
16 the science at the time. But what the low dose  
17 program stimulated was research on many previously  
18 studied underfunded phenomena; for example, adaptive  
19 responses bystander effects and genomic instability.  
20 And, also, initiated the use of new technology, which  
21 brought a new aspect to the biology of radiation  
22 effects.

23 One of the most fundamental ones that was  
24 initiated very early in the program by Sally Amundson  
25 and Al Fornace, as well as Nat Coleman and Andy

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Wyrobek was the use of expression profiling in single  
2 cell systems, as well as in vitro, I'm sorry, in vivo  
3 by Andy Wyrobek. And you can take this expression  
4 profiling, where you're looking at 20,000 different  
5 genes at one time, and you're looking at snapshots as  
6 a function of dose, or as a function of time, and ask  
7 the question how do low doses and high doses differ  
8 in their ability to change the transcriptional program  
9 of a given cell type. And so these are very  
10 complicated data sets, and I've summarized them very  
11 succinctly here on one slide, which is what I'll try  
12 to do with the other research studies.

13 At low doses, you can look for  
14 transcriptional profiles, look at the transcriptional  
15 profiles, and look for genes that are unique to those  
16 very, very low doses. And I believe in Sally Amundson  
17 and Al Fornace's work it was 2 centigrade was their  
18 low dose, 400 centigrade high dose. In Andy's work,  
19 he had a larger dose range. But you can ask this  
20 question and essentially make little Venn diagrams,  
21 and very simple analysis shows you that there are  
22 unique low dose genes that do not overlap with the  
23 high dose genes. There are genes in common, so these  
24 transcriptional profiles that change even response to  
25 a few centigrade.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           These pathway analysis that you then take  
2 the gene transcriptional patterns and classify them  
3 according to what they have been recognized to  
4 regulate or be involved in processes for; for example,  
5 apoptosis or metabolic pathways. Suggestion that the  
6 transcriptional programs are differentially affected  
7 at low doses and high doses. And although there's  
8 some overlap across species or cell types, endothelial  
9 cells versus epithelial cells, transcriptional  
10 programs are differentially affected in vitro versus  
11 in vivo. So this tells you, to begin with, that low  
12 doses do elicit a different biological response than  
13 high doses at the very same instant as -- well, very  
14 shortly these are usually on the time course between  
15 one hour and twenty-four hours post radiation, and  
16 that the cell is able to respond to that radiation  
17 stimuli.

18           The research funded in these simple  
19 systems, mono layer culture, have motivated challenges  
20 to the biophysical paradigm of linearity because there  
21 is good evidence now from a variety of researchers  
22 that low dose radiation exposure alters the subsequent  
23 response to high dose. Now, I think, as pointed out  
24 by Dr. Tenforde, this is actually follow-up on work  
25 that was done in the 1980s at UCSF, but there's now a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 better understanding of what that adaptive response  
2 might actually mean for the cell, and how it's  
3 executed.

4 We've also investigated how cell-cell  
5 communication is affected by exposure to radiation, so  
6 the fact that an irradiated cell can send signals to a  
7 non-irradiated cell has been extensively studied using  
8 the microbeam facilities at Columbia, as well as some  
9 work by Ellie Blakely at LB and L using the advanced  
10 light source.

11 Those radiation elicit heritable  
12 phenotypic responses because, of course, one of the  
13 aspects of radiation biology that we're concerned with  
14 is what are the persistent effects of radiation? What  
15 actually could have consequences when we think about  
16 the time frame under which cancer actually occurs,  
17 which is usually years in the case of Leukemia, to  
18 decades after radiation exposure in the case of many  
19 solid tumors, so we need to understand heritable. In  
20 this case, I don't mean generational,  
21 transgenerational, but just that a somatic cell can  
22 pass on a feature, a phenotype to its daughter cells.  
23 Genomic instability is a very good example of that,  
24 this occurrence of genomic instability in the  
25 daughters of irradiated cells. And there's a new

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 interest in epigenetics.

2 And, finally, one of the things that the  
3 program has initiated is a movement away from these 2D  
4 culture to understand how multicellularity modulates  
5 radiation responses and consequences. And there's a  
6 variety of different models systems in which now  
7 there's multicellularity, even between cell types,  
8 like fibroblast and epithelial cells can be used to  
9 now understand long-term consequences of radiation.

10 So as Tony Brooks likes to put this, he's  
11 a much more classical radiation biologist than I am,  
12 targeted -- essentially, we have to deal with this  
13 question of targeted versus non-targeted effects. In  
14 terms of targeted effects, we're thinking about the  
15 production of damage. Linear processes due to energy  
16 deposition, because we know that energy deposition is  
17 linear under most circumstances that we're  
18 considering.

19 In this case, we think the critical sensor  
20 is the DNA. And as a transducer into that heritable  
21 consequences, we're thinking about the genetic changes  
22 that occur, mutations that will then modify the  
23 behavior of cells for many -- for an extended period  
24 of time post irradiation.

25 In terms of non-target effects, one way to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 characterize it, it's like a processing of this  
2 damage. These non-linear process, these tend to be  
3 non-linear because it's due to a signal cascade that's  
4 propagating an effect. We don't really know what the  
5 critical sensors are here, but we think they are  
6 proteins, could be lipids. Leave that question open.

7 That should be a question mark after proteins. And  
8 the transducer here is the genome, not genetic  
9 sequence change, but rather how the genome is  
10 expressed. So change that are really epigenetic in  
11 terms of what we've characterized as modifications  
12 that affect the way the cell expresses its individual  
13 genome. And those can actually have -- those two  
14 aspects of the radiation biology need to be  
15 incorporated into our thinking.

16 So one of the ways I discuss this is to  
17 say, okay, there are radiation phenomena, like  
18 bystander effect, genomic instability. There are  
19 effects, so consequences that we can really read out  
20 in our measured assays, and then there's cancer risk.

21 And that's, of course, what regulatory committees,  
22 and regulatory institutions are interested in, what is  
23 the cancer risk due to these effects. So another --

24 I'm just going to -- because there's a basis for the  
25 rest of the talk, I wanted to just make sure we're on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 the same page for targeted versus non-targeted  
2 effects.

3 I showed you Tony's description, and my  
4 description is slightly different. One of the things  
5 I think of targeted effects are those that affect the  
6 irradiated cell, so this can be an autocrine effect,  
7 like apoptosis, the induction of apoptosis. That is  
8 occurring in the cell that was irradiated, or it can  
9 be a paracrine effect, so signals that are sent out to  
10 adjacent cells are bystander, what we call bystander  
11 phenomena, is, in effect, occurring in the irradiated  
12 cell, is sending out a signal that you can then  
13 measure responses to that signal in adjacent cells.

14 Targeted effects are thought to generate  
15 mutations in the progeny, and this is the mode of  
16 action by which you effect long-term consequences in a  
17 tissue or an organism.

18 Non-targeted effects I think can be  
19 classified as those that affect the progeny by  
20 altering daughter cell behaviors that affect, for  
21 example, genomic instability, or stability, or  
22 phenotypic stability. I'm going to give you some  
23 example of what I mean by phenotypic stability.

24 These are really through the perpetuation  
25 of persistent signaling cascades that mediate a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 variety of different -- that are mediated by a variety  
2 of different types of signals, reactive oxygen, ROS,  
3 cytokines, lipids can be signals that can be  
4 perpetuated in a tissue. And these signals can affect  
5 surveillance for - and I'll get a little bit into that  
6 - phenotypes or cell-cell interactions. And these are  
7 thought to then modify epigenetic modifications of the  
8 genome versus the genetic change.

9           So I guess my take-home message from this  
10 overall talk is that radiation elicits complex  
11 biology, and it's probably not something anybody wants  
12 to hear, because it really is very complex biology.  
13 And for the biologists who are in this program, I  
14 think they've done a fabulous job of really digging  
15 into the underlying mechanisms. But what we really  
16 want to get at is how does this actually mediate  
17 carcinogenic risk? So these heritable non-mutation  
18 effects of radiation mediated through dynamic  
19 signaling, directed perhaps towards maintaining  
20 homeostasis, now can induce a variety of effects,  
21 including something I'm going to describe in more  
22 detail, selective apoptosis. And, as a consequence,  
23 this kind of biology may actually suppress or  
24 eliminate abnormal cells. And radiation is actually a  
25 very good tool for getting at this underlying biology

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 of a system of a tissue. And I'm going to give you a  
2 couple of examples of how this works, and then we're  
3 going to go into the more complex models.

4 So protection by selected deletion of  
5 aberrant cells. This is actually a very interesting  
6 phenomena, and it suggests a whole higher level order  
7 of organization in the tissues. But I'm going to  
8 briefly give you a summary of four studies that  
9 suggest that this actually does occur, and occurs in  
10 the cells of interest. So in Les Redpath's work, he's  
11 published a very recent paper on radiation research  
12 which shows that low doses suppress the transformation  
13 assay that he's used over the last 20, 25 years to  
14 demonstrate the linearity of transformation at high  
15 doses, but that low doses suppress th is  
16 transformation.

17 Georg Bauer, who participates in the  
18 program via his collaboration with somebody whose name  
19 just escaped me, who's co-funded by NASA. His name  
20 will come to me, I'm sorry, has shown that transformed  
21 cells can be selectively deleted by signals from  
22 normal cells, and that low dose radiation actually  
23 augments the efficacy of the normal cells in doing  
24 this. This was a paper on cancer research in 2007<  
25 Portess was the first author.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 We have work in my laboratory that shows  
2 that radiation TGF Beta mediates the surveillance of  
3 genomically unstable cells, and Pam Sykes has shown in  
4 vivo that low dose radiation can suppress an endpoint  
5 that she uses for genomic change recombination in  
6 vivo. So how does this work? Essentially, what the  
7 little diamonds are supposed to represent are normal  
8 blue cells. Of course, I'm from California. That's a  
9 reference to Democrats, you know.

10 (Laughter.)

11 DR. BARCELLOS-HOFF: And abnormal red  
12 cells in the middle, and the idea is that the signals  
13 from those normal cells can actually cause those cells  
14 to selectively die.

15 Now this is some of the kind of data that  
16 supports that idea. Here's from Les Redpath, his  
17 transformation frequency, where you can see that,  
18 first of all, there's a J-shaped dose response curve,  
19 and these are very -- Les being a classical radiation  
20 biologist with a lot of experience with this assay,  
21 these are actually very extensively done studies,  
22 showing that at doses of lower than 10 centigrade, you  
23 definitely see a decrease over the baseline frequency  
24 of transformation in this assay. He suggests that  
25 there are three mechanisms that actually contribute to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 this. One is a low dose radiation sensitivity  
2 possibly of G2 cells that may operate at above 10  
3 centigrade, the induction of DNA repair, and up-  
4 regulation of antioxidants. And, interestingly, he  
5 has done this with very, very low dose rates, a few  
6 milligre a day, and shown that actually over the --  
7 exposing the cells for a few milligre a day actually  
8 suppresses the transformation frequency overall in  
9 this assay.

10 So this very complicated slide represents  
11 the accumulation of mechanistic understanding of how  
12 normal cells can suppress or cause apoptosis in  
13 transformed cells that has been the work of Georg  
14 Bauer, and the fellow's name that just won't come to  
15 mind. The reason I show this slide is to show that,  
16 indeed, we're getting a more detailed understanding of  
17 how this actually operates. And that then leads us to  
18 understand why antioxidant levels are going to have a  
19 major impact on whether we see or don't see aberrant  
20 cells in a population, so I'm going to leave at this,  
21 but I recommend Georg's papers in this area.

22 So this carcinogenic risk is mediated by  
23 this complex biology, which you can actually show  
24 deletion of aberrant cells. But we can also show in  
25 the program that there's altered cell-cell

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 communication displayed by the progeny of irradiated  
2 cells that disrupts cell-cell interactions and  
3 corrupts these cell signaling networks. And this  
4 actually may promote abnormal cell phenotypes and  
5 genomic instability. So an example of this is work  
6 from Zhi-Mingh Huang, who published a paper in cancer  
7 research in 2006, that showed that small doses of  
8 radiation induced fibroblast phenotype called  
9 senescence.

10 Now, senescence is an interesting  
11 phenotype, and it's not that senescence is part of  
12 aging, where you -- the cells actually revert into a  
13 non-proliferative viable state. So what do I mean by  
14 a viable state? They're metabolically active, but  
15 reproductively inactive, something you all may be  
16 familiar with from the 1980s feeder cell layers in  
17 clonal assays were essentially senescence cells. So  
18 what Zhi-Min showed in this case was that this top  
19 dose, this is incidence of senescence using a beta-Gal  
20 marker, and here you can see that it's much more  
21 efficiently induced by single fraction, or  
22 fractionated exposures, 5 centigrade every 12 hours,  
23 versus a single dose of radiation. But both were able  
24 to elicit it, so this is very interesting in and of  
25 itself. But what he showed is that these senescent

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 fibroblasts alter the signals that send out. They  
2 alter, and particularly induce matrix  
3 metalloproteinases. This is just RTPCR showing that  
4 the senescent SF fibroblasts actually have more of  
5 these various and sundry matrix metalloproteinases, and  
6 then when you then mix these fibroblasts with  
7 epithelial cells, in this case MCF10As, you alter  
8 their growth properties. So here's a traditional  
9 monolayer where the epithelial cells are growing --  
10 I'm sorry, this is a 3D culture, and you can see this  
11 is the normal way epithelial cells grow. And then in  
12 this 3D matrix, and if you put in these fibroblasts,  
13 senescent fibroblasts, and they grow in these kind of  
14 arborized fashion. And, indeed, if you do this now  
15 using confocal microscopy and immunofluorescence, you  
16 can see the very different morphology that the cells,  
17 the epithelial cells assume when they're out with the  
18 senescent fibroblasts.

19 So you would think well, that doesn't look  
20 good. You know, you've changed the matrix, you've  
21 changed by the induction of matrix metalloproteinases.

22 And, indeed, in our own laboratory we showed a  
23 variety of different effects that suggest that when  
24 you irradiate cells, human mammary epithelial cells,  
25 these are non-malignant epithelial cells, you can

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 alter the way the cells undergo morphogenesis when you  
2 expose them to another cytokine. Now, this is a  
3 cytokine TGF beta which we showed years ago was  
4 induced by radiation, so the question was well, how  
5 does an irradiated cell differ in its response to TGF  
6 beta versus a non-irradiated cell? And what we show  
7 in these 3D images here is that the normal appearance  
8 of these cells should be a nice little hallow sphere.

9 And when they're irradiated, in this case with a dose  
10 of 2 Gy, which is a high dose, they undergo disruptive  
11 morphogenesis. But what's interesting about this is  
12 these are the progeny of the irradiated cells. These  
13 are ten days out post irradiation, and yet they  
14 remember the fact that they've been irradiated, and  
15 now response to TGF beta in a quite different fashion.

16 As it turns out, they also, when you  
17 expose irradiated epithelial cells, and we've done  
18 this with three different cell lines. And, in fact,  
19 we've also done it with non-cell line, cell strain,  
20 normal epithelial cells, we find that radiation  
21 predisposes these cells to now acquire mesenchymal  
22 cell markers. And that, actually, is a feature of  
23 EMT, epithelial to mesenchymal transition. This is a  
24 physiological event that occurs during development,  
25 but has also been linked to carcinogenesis. It's a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 way of cells beginning to acquire motile capacity as  
2 they break away from their normal association with  
3 each other, and then begin to behave independently.  
4 And, indeed, when we measure motility, we can see a  
5 significant increase in the motility of these cells  
6 when they've been irradiated and then treated with TGF  
7 beta.

8 And, again, the important thing about this  
9 is this is the progeny of the irradiated cells, and  
10 that it persists for up to several passages in  
11 culture. So we're quite interested in well, okay,  
12 this is a negative, I would assume a negative effect  
13 of radiation. Now, I don't have on here is the dose  
14 response. What's fascinating about the dose response  
15 here, does it make any difference whether I irradiate  
16 them with 2 centigray, or 200 centigray. If I then  
17 expose them to radiation -- to TGF beta, they all  
18 undergo EMT, so that is a classic indicaci of a non-  
19 targeted effect.

20 So we have these negative effects and  
21 these positive effects, deletion, how might they play  
22 out? There must be some interaction. I think Tom  
23 Tenforde alluded to this in his review, so we can  
24 induce these abnormal cell phenotypes and genomic  
25 instability. Radiation can reduce signals that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 counteract these events, which is actually going to  
2 prevail? So, again, taking these non-malignant  
3 mammary human epithelial cells, I wanted to show you  
4 an example of this.

5 Here we're using again two epithelial  
6 cells, and we're looking for an indicaci of genomic  
7 instability aberrant centrosomes. Centrosomes are the  
8 organelles that allow your chromosomes to segregate at  
9 mitosis, and if you don't have two, you begin to  
10 disperse your chromosomes in odd fashions, and develop  
11 very quickly, and then genomic instability. And we  
12 see here that radiation is actually -- appears to be  
13 acting in a very targeted fashion in inducing these  
14 centrosomes aberrations. It's a dose response that  
15 goes down to 10 centigray, but that's a significant  
16 different down there at 10 centigray, going up to 500  
17 centigray.

18 And, furthermore, that's at the first  
19 passage. If we now take irradiated cells, clone them  
20 and look for instability in the clonal progeny of  
21 these cells, we can see that is occurring at doses at  
22 least above 10 centigray. Ten centigray didn't seem  
23 to persist in inducing this instability. And here  
24 we're measuring centrosome aberrations, and here we're  
25 using spontaneous DNA damage, these foci that occur in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 pre-malignant lesions. You can see it's quite  
2 increased in this case. So that's a negative effect  
3 of radiation, but, again, here's another -- this goes  
4 back to this complexity. If you add TGF beta to these  
5 cells, then you can suppress those -- actually, you  
6 don't suppress the instability. You actually still  
7 generate the aberrant centrosomes, but three days  
8 after radiation, you begin to see an increase in  
9 apoptosis, so TGF beta induces this apoptosis, it  
10 induces it in p53 dependent fashion. And I can go  
11 through the details of this if anybody is interested  
12 in the experimental. But the important thing about  
13 this is that TG beta is actually selectively inducing  
14 apoptosis in the aberrant cells. And so when we look  
15 at the TGF beta treated population, we can actually  
16 see the genomic instability disappearing from the  
17 population, very similar to the effect that Georg  
18 Bauer, and Portez, and it will come to me showed in  
19 selective deletion of transformed cells. So you can  
20 have this operational, even in the same population.  
21 Right?

22 So there's been a significant interest in  
23 how you would incorporate these kind of processes into  
24 how we think about modeling radiation effects at low  
25 doses. Bobby Scott has probably been the foremost in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 doing these kinds of modeling, putting all the pieces  
2 of information together. And he has a number of  
3 papers suggesting that you can actually model this  
4 protective apoptosis mechanism as an inhibitor of  
5 neoplastic transformation.

6 So while the evolution -- so I wanted to  
7 go back to this. So it's evolving, and the real  
8 current emphasis is to find these mechanisms that I  
9 was just talking about in the in vitro studies, and to  
10 integrate these single cell responses into complex  
11 multicellular systems, tissues and organisms.

12 So I think it's important to recognize  
13 that this is not unique to radiation biology, that  
14 tissues as a modifying influence on oncogenic events  
15 is quite well-established in the cancer biology  
16 community. Carcinogenesis, you can show with  
17 experimental systems that carcinogenesis is suppressed  
18 by normal tissues, that's promoted by remodeling  
19 tissues, like in wound healing, that malignant  
20 genotypes can be reverted to normal phenotypes by  
21 modifying the extracellular signal so you actually  
22 suppress their malignant features. That's pioneering  
23 work by Nina Bissell at Lawrence Berkeley Laboratory,  
24 who's been funded by the DOE for her entire career,  
25 practically. And that the micro environment, and here

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we're being very inclusive, inflammation,  
2 neovasculargenesis, immune system, stroma is paramount  
3 to facilitating this neoplastic progression. So this  
4 was pioneered by Beatrice Mints, Barry Pierce, Judah  
5 Folkman and Nina Bissell, but recent studies appearing  
6 in cancer cell and in nature have shown that even  
7 oncogene models where you've deleted a primary  
8 immediate of genomic stability like p53, or you've  
9 treated with large T antigen which takes out p53 and  
10 RB at the same time. Even in those model systems,  
11 what you really need for cancer to occur is the  
12 cooperation of other cell types, so the oncogenic  
13 event occurs here, but it's the other cell types that  
14 actually allow that cell to express its neoplastic  
15 potential.

16 So what's important to recognize about  
17 radiation, that it affects the pathways by which  
18 tumors actually develop. It's not identical,  
19 necessarily, to spontaneous radiation. This is work  
20 from Alan Balmain's laboratory at UCSF where he showed  
21 the genomes of high dose radiation induced tumors are  
22 different than those of spontaneous null tumors. And,  
23 indeed, the genomes of these high dose down here, this  
24 is a comparative genomic hybridization which is  
25 showing you loss of regions of the genome versus gains

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 in the region of the genome. And here, the  
2 preponderance of the irradiated, the tumors from the  
3 irradiated animals incurred in this mix bag of  
4 amplification deleters and scrambled genomes.

5 Interestingly, even though the genomic  
6 changes were very different in these tumors, there was  
7 no difference in the latency of the tumors, so it  
8 didn't predict which tumors were going to come up  
9 early or late, an interesting aspect of this biology.

10 So what this is says is that radiation  
11 affects the pathways by tumors develop. Radiation  
12 actually altered tissue context and progression. In  
13 our system, we took mice and irradiated them, and then  
14 -- with a high dose here. And this is a published  
15 study in "Cancer Research 2000", that showed that if  
16 we irradiated with high dose 4 Gy, and the transplant  
17 a non-irradiated, non-tumorigenic epithelial cells, we,  
18 indeed, got tumors very rapidly in this model system.

19 And we could extend the period between irradiation  
20 and transplantation out to 14 days, and still saw this  
21 increase in tumor frequency.

22 We've now expanded that study to ask,  
23 okay, that's a huge dose, what does it mean for low  
24 doses? And we essentially take advantage of the  
25 mammary gland, which develops post-natally. If you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 come in and surgically remove that epithelium, you can  
2 transplant new tissue, it will grow out into a normal  
3 mammary epithelium, or you can use a genetically  
4 modified tissue, like p53 null mammary epithelium  
5 which has a propensity to develop into tumors. So we  
6 remove the epithelium at three weeks, we wait until  
7 the animals are 10 weeks old, and then we irradiate  
8 them now with 10, 50, and 100 Gy, we transplant them  
9 with this p53 null tissue, and then we wait for tumors  
10 to develop.

11 Under normal circumstances, these tumors  
12 develop in the mammary tissue develop at a year of  
13 age, and they're quite similar, actually, to humor  
14 tumors. They undergo DCIS type lesion, and genomic  
15 instability. And what we found, very surprisingly,  
16 was that a dose of 10 Gy at 10 weeks of age increased  
17 the frequency of tumors at a year of age, quite  
18 significantly, and interestingly, with no dose  
19 response, 10, 50, 100.

20 Now remember, we're not irradiating the  
21 epithelial cells. The epithelial cells have their own  
22 innate driver here. But what we're seeing is this  
23 drive promotion of the carcinogenic effect. More  
24 importantly, though, we can say we now have a better  
25 understanding about how that actually operates,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 because if we now do this in a TGF beta compromised  
2 mouse, based on all the biology that we've done in the  
3 past, we can see that we can significantly decrease  
4 that effect of radiation. So we begin to understand  
5 the mechanisms that are operating to drive this  
6 carcinogenic potential.

7           It's even more complicated because one of  
8 the things David Boothman's program has shown is that  
9 radiation, very low doses of radiation, 10 Gy actually  
10 induces the expression of a protein called clustering,  
11 which is a pro-survival factor that suppresses TGF  
12 beta signal. So, obviously, as we get into this more  
13 complicated biology, we're going to have to begin to  
14 understand how these phenotypes and the genotype of an  
15 individual actually cooperate to initiate cancer  
16 susceptibility. So we, obviously, think cancer  
17 susceptibility is this complex array of different  
18 components, inflammation, immune response, stromal  
19 cells, metabolism, but that those then are affected by  
20 genotype, and they all interact. So how are we going  
21 to pull this apart?

22           Allan Balmain and Zhi-Ming Huang have  
23 proposed a systems genetic approach for studying  
24 radiation carcinogenesis, where they now take a series  
25 of animals that they've created genetic diversity in,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 and then they track a variety of different features so  
2 they ask this question down here, which is a network  
3 analysis to identify susceptibility genes, and these  
4 contributions from environmental factors, like  
5 lifestyle, or diet in the case of the mice. They  
6 don't have a very elaborate lifestyle. And they've  
7 shown, actually, that when they do that, they begin to  
8 see these phenotype networks that are associated with  
9 tumor resistance. And it's very interesting because  
10 it begins to pull out different contributions of cell  
11 types in terms of the ability of given tissue to  
12 develop a tumor. And what they have found is that if  
13 you look for lung cancer versus skin cancer, these  
14 phenotype networks shift, and so that again gets to  
15 one of the fundamental questions in radiation protection  
16 is why are some tissues different than others in terms  
17 of their susceptibility to radiation?

18 So, obviously, we need new tools to  
19 describe this complexity that I've just dazzled you  
20 with, I hope, using systems biology. There's a  
21 genetic basis of sensitivity. This is looking for  
22 genetic basis, hindered by looking under the lamp  
23 post. You look for things that you know about, and  
24 then you say ah-hah, or you say oh, didn't work, so  
25 there are other ways of doing that where you have a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 systematic analysis of diverse phenotypes in the  
2 context of genetic diversity, which you can have  
3 multiple outcomes, increases and decreases in  
4 susceptibility.

5 Then you use data integration of all these  
6 things, molecular phenotypes, genotypes, and  
7 biochemistry and functional phenotypes to actually  
8 pinpoint mechanistic contributions. So in our  
9 approach at the DOE Low Dose Program, is to initiate -  
10 to think about organisms using these excess haler  
11 endocrine, paracrine, juxtacrine signals to  
12 orchestrate damage responses of cells, and that  
13 actually it's a system, i.e., the tissue or the organ,  
14 or the organism that responds to the damage by  
15 radiation at the molecular level. So we have to  
16 better understand what the system control is of this  
17 cancer. And so appreciate the good words about  
18 systems biology, because that is an area that the DOE  
19 program has initiated actually two years ago in  
20 collaboration with the European community. We  
21 initiated the first set of workshops in systems  
22 radiation biology. Everybody has a different -- well,  
23 it's one of those new fields, so there are a lot of  
24 different definitions of systems biology, but I think  
25 Dr. Mossman and I agree on what makes systems biology

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the most interesting, is this idea that what  
2 distinguishes a complex system from a merely  
3 complicated one is that some behaviors emerge as a  
4 result of altered relationships between the elements.

5 And you can actually ask that question, is cancer an  
6 emergent phenomena?

7 And believe it or not, I had this slide in  
8 there before Dr. Mossman's comments, because this is  
9 an example that I always use. I study TGF beta, but  
10 this is a fascinating thing. Here's a mouse in which  
11 the TGF beta receptors were floxed in fibroblasts,  
12 only in fibroblasts. That means that there's a loss  
13 of TGF beta signalings in the stroma. And, as a  
14 result, you got epithelial cancer at six weeks within  
15 birth, and two different types, prostate and squamous  
16 carcinomas of the forestomach occurred in these mice  
17 so rapidly, just by deleting, and actually not even  
18 abrogating because this in a subset of fibroblasts,  
19 the signaling from TGF beta in a non-target tissue.

20 I think that suggests that cancer really  
21 is about the relationship between cells, and not a  
22 feature of the individual cell, per se. So we've put  
23 this together as integrative cancer biology, cellular  
24 events such be placed in a multicellular and  
25 organismal context, systems are maintained by

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 information, in which space, and time, and location  
2 are a factor. Radiation may actually give rise to  
3 emergent phenomena, i.e., small perturbations and many  
4 things that result in big changes like cancer. In  
5 order for us to actually then predict cancer risk, we  
6 have to understand how these actually intersect. And,  
7 if so, then dose rate may actually alter this in a  
8 non-linear manner.

9           So my final slide, and I apologize, I  
10 talked really fast, which I know I have a habit of  
11 doing, to try to cover the breadth of this program,  
12 and I haven't left very much time for questions. So  
13 what does it tell us about LNT? We think that  
14 responses to low dose radiation are different from  
15 high doses, and probably have different sensors and  
16 elicit different biology. Non-targeted are a mode of  
17 radiation action whose actions may prevail in  
18 carcinogenesis, and that's something that we need to  
19 understand better how they actually intersect with  
20 those targeted mutational mechanisms of  
21 carcinogenesis. And that predicting radiation effects  
22 actually needs to integrate biology occurring at  
23 different levels of tissue organization, so we  
24 understand how cell-cell interaction, cell  
25 communication across tissues and across organs

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 actually affect cancer in the organism, the human.

2 Thank you. I'll take questions, and thank you.

3 CHAIRMAN RYAN: Thank you very much. Any  
4 questions? Dr. Mossman.

5 DR. MOSSMAN: What are the aspects -- I  
6 read this somewhere, and I can't recall who I should  
7 give this credit to, but there's on school of thought  
8 that says everybody's got cancer, but relatively few  
9 people have disease.

10 DR. BARCELLOS-HOFF: Right.

11 DR. MOSSMAN: And what they're referring  
12 to is this notion that in prostate cancer in males, in  
13 males who die 85, 90 years old, almost all of them  
14 have cancerous lesions, but they don't develop into  
15 overt disease. And my question is, in the context of  
16 emergent biology, what does this say about to what  
17 extent do the cells have to acquire emergent behavior  
18 in order to make the leap from just in situ disease to  
19 overt disease? Is cancer of the prostate, cancer of  
20 the breast where you would see similar kinds of  
21 epidemiologic data, are these model systems that you  
22 would want to look at in-depth, in terms of  
23 understanding emergence? The question that I've  
24 always had in the back of my mind, at what point does  
25 emergence occur? I mean, I'm sure it's not just a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 discrete phenomenon, that it's something that's  
2 gradual, but at some point you ought to be able to see  
3 a tipping point, if you will. Any comment?

4 DR. BARCELLOS-HOFF: I think that's a very  
5 pertinent question, and it's something that's only  
6 beginning to be better recognized in the cancer  
7 biology field. We've been in a paradigm of  
8 reductionism where we're thinking about the oncogenic  
9 changes, or genetic changes that occur in the cells,  
10 and that's been very, very informative. It's pointed  
11 us in the direction of a lot of intrinsically  
12 interesting biology, and looking at those mutated  
13 cells. But, again, all these models I referred to,  
14 and I can give you the reference list where it shows  
15 large key antigen, oncogene doesn't actually operate  
16 to induce cancer of the skin unless there's a b-  
17 lymphocyte cooperation, and doesn't induce cancer in  
18 the pancreas unless there's macrophage cooperation.  
19 And you can eliminate those cell types, and you  
20 eliminate cancer incidence, so emergence is actually  
21 the key feature of cancer biology.

22 I started with the idea that my research  
23 group, we all walk around with initiative cells. It's  
24 just a function of breeding, breeding and inefficient  
25 repair mechanisms. But what actually drives clinical

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 disease is the ability to escape that normal tissue  
2 control, and so the studies that you're referring to,  
3 there was a -- there are autopsy studies published in  
4 Lancet, and, essentially, if you look at breast, if  
5 you look at prostate, if you look at thyroid cancer,  
6 90 percent of all -- well, I would say just about  
7 everybody in this room has incipient thyroid cancer,  
8 yet, the incidence of clinical disease in a 50-year  
9 old plus population is one in 4,000. So it's very  
10 interesting biology, shift in our paradigm about what  
11 we're thinking about cancer.

12 CHAIRMAN RYAN: Allen, you have a  
13 question?

14 VICE CHAIRMAN CROFF: Yes. A question on,  
15 I guess, definitions. I think you clearly defined low  
16 doses on the order of a few centigray early on. What  
17 do you define as a low dose rate?

18 DR. BARCELLOS-HOFF: Oh, do we have a  
19 functional definition of low dose rate, Noelle? So  
20 our low dose is 10 centigray and below, low dose rate,  
21 I think anything delivered in less than the standard  
22 100 rads a minute or thereabouts is maybe a little bit  
23 lower than that.

24 DR. METTING: Yes. Just for fun, I say  
25 one gray and one day is what, 1,000 times background

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 radiation, something like that.

2 DR. BARCELLOS-HOFF: But there's not a  
3 standard definition in the program. A lot of people  
4 use different --

5 VICE CHAIRMAN CROFF: Okay. But in the  
6 terms of dose rate, low is high.

7 DR. BARCELLOS-HOFF: Okay. Well, yes. We  
8 don't do our experiments on the order of human  
9 exposures.

10 VICE CHAIRMAN CROFF: Okay.

11 CHAIRMAN RYAN: One follow-up question to  
12 your discussion with Dr. Mossman. So where do we fit  
13 -- this is a novice question, so forgive me. Where do  
14 we put our emphasis then? We put our emphasis on the  
15 thing that keeps the thyroid cells from not expressing  
16 a cancer, or do we think about cells and what triggers  
17 the --

18 DR. BARCELLOS-HOFF: Well, let me put it  
19 this way. I've written a couple of proposals, I  
20 haven't had any luck with funding yet, but I'm going  
21 to persist in this idea. A really interesting thing  
22 about the non-targeted effects is epigenetic effects  
23 that are modifiable. Mutations you can't do anything  
24 about. Once you've been irradiated, you've got a  
25 mutation, you got it, but I don't know what your's is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 versus mine, versus the person next to you. Right?  
2 And if we understand how normal tissues suppress  
3 carcinogenesis, then we can really support that under  
4 the circumstances that you're treating clinically, or  
5 if you have an accidental exposure to a population  
6 that the NIAID is interested in. But understanding  
7 how these two components intersect in terms of  
8 radiation I think actually, something I'll talk about  
9 in my NCRP talk next week, is the way I think about  
10 this, and I didn't put it in here because I'm trying  
11 to represent the program, is that the non-targeted  
12 effects actually do cooperate, and radiation acts as a  
13 carcinogen, primarily because of that cooperation.  
14 But we don't know how the non-targeted effects  
15 actually operate in the dose response fashion in in-  
16 tact organisms, other than to say they seem to act  
17 more switches. Right? On and off, like my 2  
18 centigrade versus 200 centigrade, which is on or off.  
19 And, therefore, then it becomes critical as to what  
20 turns the switch on, so what is the threshold.

21 CHAIRMAN RYAN: Thank you. Good luck with  
22 your proposals. Thank you very much. Without further  
23 ado, I'll introduce Dr. Bernard Le Guen, who is the  
24 President of the Commission on International  
25 Relations, and President of the Research and Health

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Section of the French Radiation Protection Society.

2 DR. LeGUEN: Well, just before to begin, I  
3 would like to have a comment. You know, radiobiology  
4 is a long story, and before about the explanation on  
5 cancer, we talk about cells disease. Today, we talk  
6 much more on tissue disease or body disease, and  
7 that's why -- and beyond your question, there's  
8 another comment. It's the problem of extrapolation  
9 from in vitro study to in vivo study. That's why it's  
10 so difficult. So thank you for your invitation.

11 So I will try to explain to you in 45  
12 minutes the estimation of the carcinogenic effects on  
13 low doses of radiation, and particularly about the  
14 French Academie reports, because I am one of the co-  
15 writers of this report.

16 Over the past 20 years, the French  
17 Ministry of Research has asked the Academie des  
18 Sciences to carry out a critical review of the  
19 available data regarding the effect of low doses of  
20 radiation has. And in 2003, the two Academies, the  
21 Academie of Science and also the Academie of Medicine  
22 decided to join the effort for an update of two main  
23 topics. So those carcinogenic effects relationships,  
24 and the carcinogenic effect of low doses. So a  
25 working party was set and a report was accepted after

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 a few modification, and continue, today we are in  
2 2008, and continue to work on these topics, I'm sure  
3 in next years we'll continue, too. So this report was  
4 released in March 2005.

5 So another remark about the Kenneth  
6 Mossman presentation this morning. The main problem  
7 for both medical and non-medical uses of radiation is  
8 a possible carcinogen risk associated with small doses  
9 of ionizing radiation. And these eventual risks are  
10 also of great importance with regard to natural  
11 irradiation. We are today in the ACNW meeting. For  
12 example, it would be of great value to assess the risk  
13 of lung cancers caused by various radon concentrations  
14 in the air at home, or at work, and whether there is a  
15 practical threshold below which the risks become  
16 negligible. Because a narrow estimation of the risk  
17 associated with exposure to radon at home could lead  
18 either to overlooking serious public health problems  
19 given the number of people exposed, or conversely, to  
20 insuring considerable pointless expense in order to  
21 limit such exposure. So, again, the problem of  
22 management of risk.

23 So the assessment of carcinogenic risk  
24 associated with doses of radiation from 0.20 to 50 is  
25 based on numerous epidemiological data. However, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 doses which are delivered during medical x-ray  
2 examination, or the dose received by nuclear workers,  
3 or in regions of high natural background radiation are  
4 much lower, from 0.1 mSv to 20 mSv. So the evolution  
5 of the cancer risk of low dose is of great importance  
6 in medicine, but also in nuclear.

7 Here you can see the radiation of more  
8 than 50 person over 10 years of the average individual  
9 dose in mSv. So nuclear energy delivers about 1 mSv  
10 per year to each person in France, in the vicinity of  
11 stations so dose can reach 50 mSv per year. People  
12 working in the nuclear industry receive an average of  
13 1.5 mSv per year, with a large increase over the last  
14 10 years due to CLR process. So the impact on health  
15 varies widely, depending on how it is estimated  
16 between zero impact, and several dozen cases per year  
17 for the entire French population. And between zero  
18 and a few little cancers per year for workers. Next  
19 one.

20 Well, following small doses, no excess of  
21 cancer has been detected with epidemiological studies.

22 However, the lack of an increase does not excludes  
23 the possibility of a small concentration of cancers.  
24 Solid tumors, and leukemia have spontaneous incidents  
25 and varies according to lifestyles. Possible increase

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 in this incidence following irradiation is relatively  
2 low, so the study must have sufficient statistical  
3 power which requires large cohorts. But in large  
4 population, confounding factors are present, and they  
5 must be taken into account by appropriate statistical  
6 measures, because their specific affect can be much  
7 greater than the effect of radiation. Of course, you  
8 know tobacco consumption, but here you have also an  
9 example. With the increase of the incidence of cancer  
10 simply due to the aging process. Next one.

11 All the difficulties must be taken into  
12 account with epidemiological studies, cosmic  
13 radiation, external exposure due to earth radiation,  
14 but also internal exposure due to drinking water.  
15 Next.

16 Following exposure to low doses,  
17 epidemiological studies have no evidence any  
18 significant effect, because either there is no effect,  
19 or the effect is too small to be detected by such  
20 studies. These results, which are sometimes described  
21 as negative results, are useful because they help to  
22 assess the upper limits of the potential risk, and can  
23 be included in meta-analysis. Next.

24 Moreover, some important new facts have  
25 emerged, such as feasibility and value of studies

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 comparing the morbidity and mortality in regions with  
2 high and low levels of natural irradiation, but  
3 similar lifestyle. Next.

4 So the question is what is a good relation  
5 between dose and effect? At low doses, you know, and  
6 we talked a lot about different possibilities, and you  
7 know that the regulator has taken the LNT curves.  
8 Next. Continue. And it's always interesting to have  
9 a look at the long history of radiation protection.

10 The LNT model was used in 1956 by Russell  
11 to evaluate the radio induced mutations germ cell line  
12 in the mouse. It was introduced between 60 and 80 for  
13 the purposes of regulation in radiation protection  
14 with regard to all mutagenic and carcinogenic effect  
15 in humans.

16 In the 60s, the International Commission  
17 of Radiation Protection introduced it because it  
18 alludes to the addition of second shell irradiation  
19 delivering low or high doses of radiation received by  
20 an individual, whatever the dose rate and the  
21 fractionation. Tests which really simplifies  
22 accounting in radiation protection. However,  
23 gradually LNT was interpreted as a meaning that the  
24 carcinogenic risk is proportional to the dose, and  
25 that even the smallest dose induces a cancer risk.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Next.

2 So the LNT has been used for assessing the  
3 effect of low and very low doses. This procedure has  
4 become the norm in many radiation protection cycles,  
5 but the validity of the LNT has been challenged over  
6 the past decade for two main reasons, and we talked  
7 about that. We talk about the meta-analysis of the  
8 animal data have shown the absence of any carcinogenic  
9 effect of doses below 100 mSv. And, also, with Mary  
10 Helen, about scientific progress as reveals the  
11 complexity of carcinogenesis, and the diversity of  
12 effectiveness of the responses of a cell to radiation.

13 Indeed, a cell is not passively affected  
14 by the accumulation of lesions induced by ionizing  
15 radiation. It reacts through several mechanisms. The  
16 LNT model postulates that the cell reacts the same way  
17 regardless of dose rate, and dose, which implies that  
18 the probabilities of death and mutation per unit dose,  
19 and the contribution to carcinogenesis of each  
20 physical event remains constant irrespective of the  
21 number of lesions in the cell, and the neighboring  
22 cells. This consistency amid several hypotheses --  
23 you can see it's a different hypothesis here, and  
24 these hypotheses are not consistent with current  
25 radiological knowledge which shows that cells do not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 remain passive when they are irradiated, either by  
2 solar UV, or by ionizing radiation. Moreover,  
3 intercellular communication system inform cell about  
4 the presence of neighboring cells. Next.

5 So using recent molecular approaches  
6 radiation impacts -- so DNA lesions in cells and  
7 tissue has been measured down to very low doses below  
8 1 mGy, and this allowed to get important new insight  
9 in the effect on cells and tissues that was formerly  
10 inaccessible in that range. It is not surprising some  
11 results obtained change our understanding of ionizing  
12 radiation induced effects at low and very low doses.  
13 Next.

14 So radiation risk evaluation are concerned  
15 with radiation effects that lead to long-term genetic  
16 effects such as genetic alterations or mutations,  
17 general stability, malignant transformation, and  
18 cancer.

19 In the case of low inner transfer  
20 radiation, such as photons or electrons, when the  
21 whole body is exposed to 1 mGy, each cell is on  
22 average grows by one electron. Each electron induces  
23 in average, two DNA lesions. This initial effect is  
24 proportional to the dose, and is direct or indirect  
25 consequence of a high transfer of energy within or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 alongside a DNA molecule. Oxidative stress stimulate  
2 enzyme systems that detoxify active spaces of oxygen  
3 and induce synthesis of enzyme that destroys them. In  
4 parallel, oxidative stress also activates neural  
5 signal pathways, so about DNA damage, it is not the  
6 initial physical chemical events that change, but  
7 their outcome. So defense mechanism is induced in a  
8 cell depend on the degree and the nature of the  
9 cellular damage.

10 The defense mechanism induced in a cell  
11 depend on the number and nature of cellular damages.  
12 The number of double-strand breaks caused by 1 Gy dose  
13 has been estimated to be between 30 and 40. In  
14 contrast, the number of double-strand breaks of  
15 endogenous origin produce in each cells by the  
16 oxidative metabolism remain controversial. It has  
17 been estimated to be eight per day and 50 per cell  
18 cycle by Vilenchik who estimates that about one  
19 percent of single-strand break turning to double-  
20 strands breaks, and there are about 3,000 single-  
21 strand break per day. It's interesting to note that  
22 the double-strand break caused by natural irradiation  
23 of 2 to 25 mSv per year only seems to correspond to a  
24 very small fraction of the total number of double-  
25 strand breaks, less than 1 per 1,000. Next.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 In recent years, some new findings have  
2 alerted radiation biologists, K-shell activation by  
3 low LETs ionizing radiation, the emission of two  
4 energy Auger electrons can induce complex DNA damages,  
5 like DNA double-strand breaks. Also, very low energy  
6 electron, below 10 electrovolt can give rise to  
7 double-strand breaks, and high LET and low LET  
8 radiation can give rise to locally multiply damaged  
9 sites in DNA.

10 In the light of theoretical considerations  
11 and in vitro experimental studies, it has been  
12 proposed that ionizing radiation could induce multiple  
13 localized lesions consisting of two or more DNA  
14 lesions form within one or two helical turns of the  
15 DNA molecule at the end of the single radiation track  
16 located within a distance of less than 20 base pairs  
17 within the DNA. These very complex lesions are  
18 considered to be responsible to a large extent for the  
19 genotoxic effect of radiation.

20 LMDS are thought to be responsible for  
21 most genotoxic effects such as lethality, mutations,  
22 chromosome aberration, cell transformation, and  
23 cancer, said BEIR VII. However, the number of such  
24 lesions induces in a cell and their impact have not  
25 yet been clearly established. Much work has been done

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 in recent years to better define and quantify these  
2 lesions in irradiated cells, and to determine their  
3 biological consequences. However, LMDS are difficult  
4 to quantify human cells, and their number, if present,  
5 is quite limited. Most of cluster lesion make consist  
6 of complex double-strand breaks. In most cases,  
7 cluster of lesion are found refractory to repair. But  
8 those lesion are lethal, and non-mutagenic. That is  
9 unlikely to contribute significantly with mutagenic  
10 and carcinogenic risk of ionizing radiation for  
11 humans. So differences in the efficacy of the  
12 protection system are supported by various  
13 experimental and clinical data, but with equal doses  
14 the mutagenic effect varies markedly with dose rate.  
15 When the dose rate increases, the mutation frequency  
16 after having passed through a minimum increases  
17 strongly.

18 On this figure, you can see indication of  
19 double-strand breaks is reduced after exposure at low  
20 dose rate, so 0.5 Gy/min, as compared to exposure at  
21 high dose rate, 3.5Gy/min, so another definition, we  
22 talked about that before. You know, at equal dose,  
23 when the dose rate is low, the number of lesions  
24 simultaneously present in the cell is limited.  
25 Conversely, a high dose rate leads to the simultaneous

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 presence of a large number of lesions, which  
2 interferes with the coordinated action of repair  
3 systems, and also increases the probability of error-  
4 prone endjoining due to the presence of several  
5 double-strand break in a restricted volume.

6           Conversely, a limited number of lesions  
7 induces reversible arrest of the cell cycle, which  
8 enhances repair. A high amount put on to cell cycle  
9 average which can lead to apoptosis. And that's very  
10 interesting to note that in this slide you can see the  
11 induction of double-strand break in the repair-  
12 deficient Chinese hamster ovary shows an absence of  
13 dose rate effect on the induction of double-strand  
14 break due to the absence of repair in the cell line.  
15 So the effectiveness of DNA repair systems is  
16 evidenced by the lack of any reduction of the  
17 mutagenic and lethal effect as the dose rate decreases  
18 in the cell line, in which the DNA repair system are  
19 impaired. This lack of repair is also observed when  
20 yeast or mammalian cells are exposed to gamma rays at  
21 zero degrees Celsius, a temperature that inhibits the  
22 repair enzymes. The number of DNA double-strand  
23 breaks is identical at high and low dose rates,  
24 whereas, at room temperature it is much smaller at the  
25 lower dose rates. So the dose rates determines the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 average time interval between physical hits. It has a  
2 major effect on the cellular response, so biological  
3 effects of irradiation lethality, mutagenesis,  
4 chromosomal aberration, and so on decrease as the dose  
5 rate decreases. So biological effect of irradiation  
6 depends on two distinct factors, the greater efficacy  
7 of the DNA repair at low dose rates, and the  
8 probability of damaged cells to be eliminated by  
9 death.

10 DNA damage signaling via ATM protein and  
11 H2A phosphorylation was found to be absent at a very  
12 low dose rate, 1.5 Gy/min, and associated with  
13 lethality but present at a slightly higher dose rate,  
14 4.16 Gy/min, and at high dose rate 750 Gy/minute. So  
15 Collis and collaboration has shown that at a very low  
16 dose rate, double-strand breaks are recognized by  
17 detector proteins, but not repaired, because of an  
18 absence of activation of ATM, so an absence of DNA  
19 damage signaling. So signaling of DNA damage double-  
20 strand break depends of dose rate. At higher dose  
21 rates, DNA damage signaling is taking place. There  
22 appears to be a tracer for ATM dependent signaling and  
23 DNA repair.

24 Dose rates changes affect genes of  
25 radiation induced apoptosis but not genes of cell

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 proliferation, because exposure at very low doses  
2 levels of chronic radiation may cause more cell  
3 killing than that estimated from extrapolation at  
4 higher doses. Next.

5 For some cell types, mortality is very  
6 high per dose unit as the onset of irradiation during  
7 the first 200 mGy, then falls to a very low level  
8 before increasing again. This low level  
9 hypersensitivity is observed in many cell types  
10 leading to a high mortality rate per dose unit for  
11 doses of less than a few hundred mGy of low LET  
12 radiation. This variation in the mortality rate per  
13 dose unit indicates that the cellular defense  
14 mechanism against lethality, which initially show  
15 little efficacy become more effective during  
16 irradiation. And this initial hypersensitivity  
17 eliminates damaged cells with mutagenic potential  
18 after low doses of radiation. Next. So variations in  
19 DNA repair efficiency, different for dose rate, but  
20 not only, depend also on genetic background, depend on  
21 the different status of cells and tissue, and depends  
22 on age. Next.

23 So DNA damage signaling is necessary for  
24 DNA repair. Deficiencies in DNA repair are  
25 associated with cancer. Deficiency in DNA repair are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 associated with individual hypersensitivity, and may  
2 cause premature aging neurodegeneration, and  
3 immunodeficiency. Next.

4 Well, I didn't prepare my slide with Mary  
5 Helen, but I have exactly the same example with  
6 another publication. Let me present to you an example  
7 with normal human skin cells. Specific molecular  
8 responses are triggered in cultured primary  
9 keratinocytes from adult skin at low doses, 10 mGy, or  
10 at high doses, 2 gray of gamma rays. Using DNA  
11 microarrays, it is shown that among 850 modulated  
12 probes, the expression of 214 are specifically  
13 modulated by low doses, 10 mGy, and 370 genes are  
14 specifically modulated by high dose 2 gray exposure.  
15 Low dose specific genes, 140 known genes, include  
16 mostly genes of homeostasis, cell communication,  
17 signaling, membrane, cytoskeleton, RNA and protein  
18 synthesis, chromatin, energy metabolism, stress, cell  
19 death and transport but rarely DNA repair genes.  
20 Conclusion, the radiation response at low dose is  
21 rather specific, and quite different from that  
22 obtained at high dose. Next.

23 Another experiment on yeast at very, very  
24 low dose, studies carried out with the DNA micro array  
25 techniques, and yes, show that continuous irradiation

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 at a dose rate of 20 mGy/h so lower than the level of  
2 irradiation that causes a detectible (lethal,  
3 mutational) biological effect is enough to change  
4 intercellular signaling without modifying the genome  
5 to activate or inhibit numerous genes involved in the  
6 general metabolism, and in defense against ionizing  
7 radiation. Such mechanism bring into play defenses at  
8 dose of the same order as those due to natural  
9 irradiation. It's possible to reduce or prevent its  
10 potentially harmful effect. Next.

11 So when we compare repair double-strand  
12 breaks it depends ionizing radiation dose, and the  
13 answer is not linear, and you can see an absence of  
14 repair at 1.2 mGy in this experiment. When a large  
15 number of cells in the same tissue are killed or  
16 damaged, repair and proliferation mechanism are  
17 triggered, which are intended to protect the integrity  
18 and function of the tissue. By means of intercellular  
19 communication system, the reaction of the cell to  
20 irradiation, therefore, seems to be influenced by the  
21 number of cells affected. Some DNA repair system are  
22 activated by low doses of ionizing radiation, but  
23 associated with apoptosis. So the disappearance of  
24 damage cells seems to result from the rate of  
25 activation of repair system, which leads to an absence

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 of repair, and to cell death, and from high fidelity  
2 repair from constitutive systems. When only a few  
3 cells are damaged, this elimination strategy seems to  
4 be optimal because repair system are sometimes error-  
5 prone and can potentially lead to the emergence of  
6 pre-cancerous and subsequently cancerous cells. Next.

7 So to summarize with another publication,  
8 low dose radiation increased phosphorylation of  
9 proteins involved in the more general biological  
10 processes, and not specific genotoxicity-related  
11 responses. And high dose radiation increase  
12 phosphorylation of proteins involved in the cells  
13 signaling pathways and apoptosis. Next.

14 So the cell response, therefore, seems to  
15 depend on the dose, the dose rates, and the cell type,  
16 and without doubt on the concentration of damaged  
17 cells. So extrapolation from high dose effects to low  
18 dose effects do not respond to the actual rate of  
19 living cells to ionizing radiation.

20 DNA damage or modification of the  
21 chromatin are detected by signaling proteins. The  
22 activity of these proteins is modulated by the number  
23 of lesions, and by messages from neighboring cells.  
24 These protein activate phosphokinase transmitters, in  
25 particular, the protein encoded by ATM gene and the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 ATR genes. In turn, these transmitters modulates the  
2 action of proteins involved either in cell cycle  
3 control, so the interruption of which promote repair,  
4 DNA repair, or in triggering apoptosis. So, hence,  
5 the cell reacts to irradiation by a global and  
6 integrated response that involves several enzyme  
7 systems which governs the efficacy of DNA repair, and  
8 the probability of cell death, of senescence  
9 eliminating damaged cells. DNA induced damage is  
10 constant per unit dose, the probability of mutation is  
11 modulated within a framework of what could be called a  
12 strategy of least cost.

13 Consequences of the tissue level cells are  
14 usually embedded in tissue. At very low ionizing  
15 radiation doses ionizing radiation damaged cells do  
16 not survive, and are eliminated. Tissue function are  
17 not compromised. At higher doses, a substantial  
18 fraction of cell damage, tissue function cannot be any  
19 more assured except if cellular damage is repaired,  
20 and cells are allowed to survive even if mutation and  
21 fulfill some of the tissue function. This, however,  
22 may also allow genomic instability, malignant  
23 transformation, and cancer to occur. Next.

24 So all the radiobiological phenomena which  
25 contradict LNT hypothesis, and we saw that before with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 bystander effects, low dose impaired sensitivity,  
2 adaptive radiation response, I tried to win some time  
3 because Mary Helen showed that before, so tried to  
4 respect my time. Next.

5 But I would like to talk about adaptive  
6 radiation response. The existence of an adaptive  
7 response is now well established. The first low dose  
8 of radiation leads to a reduction of the mortality of  
9 organisms in vivo. The number of mutation and the  
10 rate of neoplastic transformation caused by a second  
11 irradiation carried out during subsequent hours or  
12 days. This inducible and transient protective effect  
13 seems to occur also in humans, and appears to result  
14 from a stimulation of cell defense and DNA repair  
15 system. At the cellular level, an increase in  
16 lethality may be observed as a result of apoptosis and  
17 delayed mortality due bystander effect. One  
18 hypothesis is that Genotoxic physical agents, UV and  
19 ionizing radiation, were present when life appeared on  
20 earth, and very likely at that time irradiation was  
21 generally more intense than today. Recent work has  
22 revealed the efficacy and multiplicity of defense  
23 mechanism which developed during evolution, many of  
24 the systems are targeted against reactive oxygen  
25 species produced by irradiation. Next.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           And that's very interesting, and also Mary  
2 Helen talked about that. Recent works shows that low  
3 doses selectively remove transformed cells in co-  
4 culture by stimulating intercellular induction of  
5 protective pro-apoptotic process mediated by reactive  
6 oxygen and nitrogen species and TGF beta that  
7 eliminates cell with genomic instability. These may  
8 relate to positive effects of low dose ionizing  
9 radiation, radiation hormesis, showing a reduction in  
10 transformation frequency after low doses. The low  
11 dose saturation of radiation induced apoptosis in pre-  
12 transformed cells as potential implication for the  
13 effect of low doses of ionizing radiation on the  
14 naturally occurring anti-cancer defense mechanism.  
15 These effects are not compatible with the LNT model.  
16 Next.

17           Also, non-targeted effects of ionizing  
18 radiation might be interrelated and possibly have a  
19 protective role under in vivo consideration by  
20 promoting differentiation. This effect might relate  
21 to adaptive responses because of increased non-  
22 targeted differentiation in irradiated samples. Based  
23 on this experimental data, Berlyakow and collaborators  
24 proposed as a main function of non-targeted effects,  
25 the decrease of the risk of carcinogenesis in a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 multicellular organism exposed to oxidative damage.

2 Next.

3 About bystander effects, bystander effects  
4 can be beneficial or detrimental depending on the cell  
5 type and the range of doses analysed. So it is  
6 possible that bystander effects play a role below one  
7 to 5 mGy where few cells are actually damaged by  
8 irradiation. Are there bystander effect in vivo and  
9 in radiation therapy? I don't know. What about  
10 abscopal radiation effect? Yes, they may arise, but  
11 they need to be fairly defined before assuming that  
12 bystander effects radiation induced carcinogenesis.

13 Next.

14 Well, a new concept in radiation biology  
15 emerge. Cells respond even very low radiation  
16 impacts. The response to ionizing radiation involves  
17 activation of defense mechanism, maintenance and death  
18 pathways. Cell react differently at high and at low  
19 doses, or dose rates of ionizing radiation. The  
20 ionizing radiation response involves activation of  
21 signaling pathways, and different genes families are  
22 activated. At low doses and dose rates a multitude of  
23 parameters influence the cellular fate, whereas, at  
24 high doses, and doses rates cellular responses are  
25 more directly channeled towards survival, genomic

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 instability, and malignance transformation of cell  
2 death. Next.

3 Radiation induced carcinogenesis is  
4 considered a multi-step process, and is initiated DNA  
5 damage and genetic alterations in somatic cells which  
6 after stepwise promotion and progression will cause  
7 cell transformation, and the development of cancer.  
8 It is strongly dependent on the cell and tissue  
9 microenvironment. These interaction are ongoing, and  
10 play a crucial role in tissue transfusion during  
11 embryogenesis, growth, and the repair of damaged  
12 tissues. The conventional model acknowledges that by  
13 a series of stages modification of the genome confer a  
14 selective advantage on the cell during carcinogenesis.

15 We know now that this phenomena cannot be described  
16 by a linear process during which successive genome  
17 damages accumulate at random. Carcinogenicity is a  
18 phenomenon that cannot be reduced but to a series of  
19 mutations due to independent stochastic lesions  
20 occurring in the same cell. Indeed, it affects all  
21 aspects of genome function. The association of  
22 genetic and epigenetic mechanism is now well-  
23 established. The process leading to the  
24 transformation of the normal cell into a tumor cell is  
25 interpreted as a Darwinian selection process

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 determined by a series of genetic or epigenetic  
2 events, each of which gives the initiated cell a  
3 selective advantage in terms of survival or  
4 proliferation within the tissue to which it belongs.  
5 The cells, the tissue, and the body all have defenses  
6 against carcinogenic processes, and these must be  
7 successively overcome for carcinogenesis to occur.  
8 Cell death, therefore, appears to be a main safeguard  
9 mechanism, in particular programmed death or  
10 apoptosis. Next.

11 So cell tissue and body defenses against  
12 cancerization, so we saw all together the  
13 intercellular system and cell proliferation control is  
14 important. Death of initiated cells which has escaped  
15 to a safeguard mechanism, apoptotic response, are also  
16 important. Control by neighborhood cell, secretion by  
17 neighborhood cells and stroma of regulation factors,  
18 inhibitor of proliferation, bystander effects,  
19 exchange of signalization, and regulation molecules by  
20 intercellular gap junction are also important.

21 And I would like to focus on the last one,  
22 mechanism of immunosurveillance. Perhaps, this is the  
23 answer to the question of Kenneth Mossman before.  
24 Because at the whole body level, escape of the immune  
25 surveillance responsible for eliminating tumor cells

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 is based on selection of cells that are capable of  
2 escaping from it. For instance, by the low self  
3 expression of the competence of the major  
4 histocompatibility complex. Carcinogenesis may be  
5 facilitated by a reduction in human defenses when a  
6 large segment of the body has been irradiated. So, in  
7 conclusion, next -- why LNT may be useful for the  
8 administrative organization of radiation protection.  
9 It's used for assessing carcinogenic risk induced by  
10 low doses, such as those delivered by diagnostic  
11 radiology, or the nuclear industry, is not based on  
12 valid scientific data. All the data shows the lower  
13 effectiveness of low doses, and dose rates. Moreover,  
14 the quantitative discrepancy between the results of  
15 the various epidemiological and animal experiment  
16 studies supports the view that there are several dose  
17 effects relationships rather than only one, and  
18 perhaps would be the answer to your question before.

19 Their parameters depends on the type of  
20 cancer, the type of ionizing particle, radiation dose,  
21 dose rate, fractionation of irradiation, species  
22 breeding line within the same species, target tissue,  
23 volume irradiated, age, and individual sensitivity  
24 factors. Epidemiological and biological data are  
25 compatible with the existence of a threshold but

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 cannot today demonstrate its existence, or assess its  
2 value somewhere between 10 and 60 Msv. The concept of  
3 collective dose can be used for alleviating the cancer  
4 risk in a population. So my last slide, to say if you  
5 are interested by those topics, you can find an  
6 English version of the Academie Medicine and Science  
7 report on the web line. Thank you for --

8 CHAIRMAN RYAN: Thank you very much, Dr.  
9 LeGuen. Any questions or comments? We have five  
10 minutes. Let's see. We'll start with Dr. Puskin.

11 DR. PUSKIN: Thanks. That was very  
12 interesting. I would just like to be a little bit of  
13 the devil's advocate here. One of the things you  
14 cited was the Lobrich and Rothkamm study, which showed  
15 a threshold below which there was no repair. I'd just  
16 like to mention that a lot of people question that  
17 study in terms of the methodology, the assay that was  
18 used, that it was unreliable. And also, when they did  
19 a later study with patients who had been -- humans now  
20 had had CT scans at somewhat higher dose than where  
21 the threshold was, but not very high, on the order of  
22 1 centigray, they found there was repair in the human  
23 body. So there's a lot of questions to the importance  
24 of that study.

25 Then a second thing I'd mention is that -

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and it's also something in Mary Helen's talk, that  
2 there's a difference in how cells react to high doses  
3 versus low doses, it's certainly true. But we already  
4 know that cancer is caused at 10 centigray. What  
5 we're really interested in is the difference between  
6 low doses and very low doses. And my understanding  
7 is that Dr. Loblach's study, he didn't find any  
8 difference there that he could show. And then the  
9 immuno surveillance, I'm not sure exactly what you're  
10 -- I missed exactly what your point is, but it's  
11 pretty clear that immuno surveillance may not be  
12 perfect, even at the lowest doses, or at least it does  
13 -- we know that people get cancer without any excess  
14 radiation, so whatever -- no matter how low the dose,  
15 it appears that the immuno surveillance is not able to  
16 pick up all these pre-malignant cells, and stop them  
17 from becoming cancer cells, unless it somehow works  
18 for radiation differently than everything else. But  
19 maybe your point was that radiation could stimulate  
20 the immuno surveillance.

21 DR. LeGUEN: You know, I'm a radiation  
22 oncology physician, and one of my masters was Georges  
23 Mathe, and Georges Mathe during the 60s was thinking a  
24 lot about the link between cancer and the human  
25 response. And at this time he has no tool to -- but

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 he was his idea. In fact, I'm very happy to see now a  
2 lot of experiment with new molecular biology. It's a  
3 new tool. To be -- we believe a lot in the immuno  
4 surveillance. I think one of the response to the  
5 question to Kenneth Mossman, if you take prostate  
6 cancer, and we know that some people will have a very  
7 aggressive cancer, and others not, one of the  
8 explanations is to say well, one moment, there is  
9 something in the body that we have - I don't know - a  
10 cell, will become much more aggressive because it's  
11 not under control, under pressure of the immuno  
12 surveillance. And we know when we have a deficit,  
13 when you have a disease, and immunological disease, we  
14 have much more risk to have cancer than if we have not  
15 this kind of disease. So the human pressure is very  
16 important. It's one of the parameter, it's not only.

17 That's why I say, it's different parameters, and with  
18 those natural sensitivity, with also the different  
19 tissue sensitivity, the neighboring cells, the tissue.

20 That's a wall response, not one response.

21 DR. PUSKIN: I mean, it's unquestionable  
22 that the body, including the local environment could  
23 suppress a cell that's mutated from becoming a cancer  
24 cell. The question is, is the probability of it  
25 becoming a cancer cell any different at very, very low

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 doses, compared to 10 centigray, and --

2 CHAIRMAN RYAN: Let me get Dr. Land's  
3 question before we break for lunch.

4 DR. LAND: Oh, I was just going to comment  
5 that in your conclusions, your sum-up, it seemed to me  
6 you make a very good argument against use of high dose  
7 excess relative risk, or excess actual risk per gray  
8 being applied at very low doses. But it's not an  
9 argument -- it doesn't seem to me that it necessarily  
10 leads to a threshold, it leads to a DDREF. And the  
11 DDREFs are used routinely, it's accepted the idea.  
12 And so the question, it seems to me, is more like what  
13 is the DDREF, rather than --

14 DR. LeGUEN: That's it. That's a very  
15 good question. You're right. I agree with you. So  
16 the problem is the assessment of the risk and the  
17 DDREF. I fully agree with you. And one of the -- the  
18 question for the future is this, if we can assess at  
19 the very low dose, the real risk associated with DDREF  
20 more precisely than today. That's the problem.  
21 You're right. You're right.

22 DR. LAND: You know it's higher than two,  
23 though.

24 DR. LeGUEN: Yes, yes. Yes, I know.

25 CHAIRMAN RYAN: All right. With that, we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 will close our morning session and reconvene promptly  
2 at 1:00.

3 (Whereupon, the proceedings went off the  
4 record at 11:50:08 a.m., and went back on the record  
5 at 1:05:05 p.m.)

6 CHAIRMAN RYAN: Come to order please.

7 All right. Thank you very much. We'll  
8 open our afternoon session and the first speaker this  
9 afternoon is Dr. Charles Land from the National Cancer  
10 Institute.

11 Dr. Land, welcome and thanks for being  
12 with us.

13 OVERVIEW OF UNCERTAINTIES IN THE ESTIMATES  
14 OF LOW-DOSE EFFECTS

15 DR. LAND: Well, I guess this will be  
16 fairly self-explanatory.

17 The background for this particular talk is  
18 ultimately quantitative uncertainty analysis which I  
19 discovered as a well-established field of study and it  
20 is the really basis for what follows. And NCRP  
21 Commentary No. 14, "A Guide for Uncertainty Analysis  
22 and Dose and Risk Assessments Related to Environmental  
23 Contamination" I think is where the NCRP first became  
24 involved and basically it's the evaluations of risk  
25 are based on a combination of statistical and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 subjective sources of uncertainty. That's the -- of  
2 it.

3           And then where I came in working with  
4 Warren Sinclair and Andre Bouville on NCRP report 126,  
5 "Uncertainties in Fatal Cancer Risk Estimates used in  
6 Radiation Protection" I think it was very illuminating  
7 to me. I didn't know anything about this before from  
8 the side of a statistician. But it really does  
9 develop into what I think I call a "New Paradigm" for  
10 expression of radiation-related cancer risk and for  
11 dealing with what we don't know well but can't ignore,  
12 things you just can't leave alone.

13           Some examples of New Paradigm examples,  
14 there is the report of the NCI-CDC Working Group to  
15 revise the 1985 NIH Radio-epidemiological Tables in  
16 2003. There's ICRP Report 99, "Low-Dose Extrapolation  
17 of Radiation-Related Cancer Risk" and then something I  
18 wasn't involved in which was BEIR VII.

19           All of these used this general approach.  
20 The way it works is first you do statistical analysis  
21 of epidemiological data and the new wrinkle is that  
22 they are corrected for dosimetric uncertainty in the  
23 data that underlie this analysis. And it yields, this  
24 analysis yields, estimated excess per Gy if linear  
25 with confidence limits or statistical uncertainty

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 distribution. And then takes a quantitative  
2 uncertainty analysis approach to necessary, but  
3 uncertain, assumptions needed to apply the statistical  
4 information to risk analysis.

5 And I'll just make a couple of technical  
6 notes which are kind of dry, but in all this risk is  
7 an actuarial concept. I'm not talking about personal  
8 risk. I'm talking about the thing that you can  
9 actually estimate and verify on the basis of  
10 population rates and you apply to an individual, if  
11 you do, as a property of a population to which he or  
12 she is assumed to belong. Okay. I don't know what  
13 anybody's, any individual person's, actual risk is.

14 Excess risk can be expressed in relative  
15 terms as a multiple of baseline. That's Excess  
16 Relative Risk. Or absolute risk as an addition to  
17 baseline, that's Excess Absolute Risk and they are  
18 related to -- Excess Absolute Risk is the baseline to  
19 sometimes the Excess Relative Risk and Excess Relative  
20 Risk is the Excess Absolute Risk divided by baseline.

21 Actually, the age-specific graphs for EAR  
22 and ERR are essentially the same. There's just a  
23 difference in scales. So I'll use them  
24 interchangeably.

25 This is an example of statistical

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 uncertainty. It's a long normal uncertainty  
2 distribution for all solid cancers from the life span  
3 study population, all survivors. This sex-average  
4 excess relative risk for GY at age 50 after exposure  
5 at age 30 allowing for dosimetric uncertainty and I'll  
6 be building on this particular example throughout the  
7 talk.

8 Other sources of uncertainty, one is  
9 transfer of risk estimates between populations which  
10 is not a big problem for all solid cancers combined  
11 which is the subject of the previous slide. But it  
12 can be a big problem if the baseline cancer rates  
13 differ greatly between populations. I think stomach  
14 cancer is probably an extreme example. The stomach  
15 cancer rates in Japan are about 12 times higher than  
16 those in the U.S. Though it makes a great deal of  
17 difference whether you transfer the excess relative  
18 risk per Gy to U.S. or the excess absolute risk per Gy  
19 from Japan to the U.S. It's a 12 fold difference.  
20 It's a big deal.

21 There is surprisingly little information  
22 on how to do it because you need data on radiation-  
23 exposed populations in both countries and there's very  
24 little on stomach cancer, radiation and stomach cancer  
25 in the United States. There's some, but not very

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 much.

2           And one approach to this problem might to  
3 treat everything in between these two extremes as  
4 equally likely and incorporate the uncertainty into  
5 the estimation process. Take the excess relative risk  
6 times probably (p) plus (1-p) times the additive  
7 transfer where p is uniformly distributed between 0  
8 and 1. That's what we did. Well, actually we did  
9 something a little bit different, but I'm just going  
10 to use it for example.

11           And here you see this one is what you  
12 would get if you took the multiplicative transfer to  
13 the U.S. population. This is what you'd get if you  
14 took an additive transfer. In your handouts, I did  
15 all this in log scale, but I think I wanted to save  
16 some time here. So this is arithmetic scale and this  
17 complete ignorance is somewhere between multiplicative  
18 and additive is this distribution here. It treats  
19 everything as equal.

20           For all solid cancers combined, the  
21 Japanese rates are a little lower than the U.S. rates.

22           The difference is far less than for stomach cancer,  
23 but it still requires some adjustment.

24           And so again, I'm going back to this  
25 example of statistical uncertainty for all solid

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 cancers and this is a Monte Carol stimulation of the  
2 uncertainty distribution for all solid cancer with an  
3 excess relative risk at 1 Gy after transfer to U.S.  
4 population using essentially the same method as I used  
5 before in the stomach cancer evaluation. And it's --  
6 You get a shift a bit to the right. The mean is a bit  
7 larger and the -- Oh, sorry. It's shift to the left.

8 This is the mean of this distribution and it's error  
9 range and this is what you had before. So it's a  
10 shift to the left and a wide distribution.

11 Here's another thing that's an uncertain  
12 DDREF for low-dose extrapolation and, for example,  
13 this is a subjective uncertainty distribution that was  
14 used in the Radioepidemiologic Tables Program. It's  
15 just an example, but when you divide by this  
16 uncertainty DDREF for low doses you get a distribution  
17 that looks like this. Again, it's approximately low  
18 normal and you have a mean of 0.17 compared to 0.25  
19 before making that -- and again the range with the 90  
20 percent probability limits broaden. Again, you're  
21 exchanging uncertainty. You're folding in this  
22 uncertainty. But it becomes part of your information.

23 So the "New Paradigm" approach uses  
24 objective and subjective information about radiation-  
25 related cancer risk. And I think a real advantage of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 it is that the approach is transparent. It highlights  
2 crucial uncertain factors and requirements for more  
3 information. That is more research. But it also  
4 provides an interim and non-arbitrary basis for making  
5 decision. If you don't like the assumptions, you  
6 change them. You can argue about them. But anyway,  
7 this is what you get if you make this particular  
8 assumption.

9           Radiation protection, okay. It's really a  
10 political process with stakeholders. They feel  
11 threatened by radiation exposure and concerned about  
12 the worst case or they value certain benefits that  
13 involve radiation exposure to themselves or to others  
14 and I think most of us belong to both of these groups.

15       We don't want to really be exposed to radiation  
16 unnecessarily, but we do derive some benefits from it.

17           And it's useful to address the  
18 stakeholders' concerns from their particular  
19 viewpoints. For example, for some of you, how bad  
20 could the risk plausibly be? So that's addressing  
21 their concern. What actual or potential benefit to  
22 you or to others is associated with the exposure? And  
23 what is the highest acceptable risk level, if there's  
24 a benefit or if there isn't a benefit? And I suppose  
25 the answer would be different.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           The methodology can provide a considered  
2 average value of risk and the highest plausible risk  
3 and the lowest plausible risk and that allows  
4 comparison of these risks with other risks that a  
5 stakeholder may tend to disregard or they would  
6 strenuously avoid and with a known or uncertain  
7 benefit. So you can fold all these things in  
8 together.

9           Now a little about linear, no-threshold  
10 theory which is currently the radiation protection  
11 practice, the basis of radiation protection practice.

12         The theory states that at low doses excess risk is  
13 proportional to dose and it doesn't require linearity  
14 of dose response over the entire dose range, just at  
15 low doses.

16           And I actually don't need to spend any  
17 time on this. We've already done this. This is  
18 collective dose of how we get the implications of LNT  
19 if we take it literally. Estimated risk, if we have  
20 the estimated risk, to 10 mGy to 10,000 people would  
21 be one excess cancer than the estimated risk from 1  
22 mGy to one million people who would be 10 excess  
23 cancers which we would never be able to prove by  
24 studying the million people if that indeed were the  
25 risk now would we be able to prove that the risk is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 much lower, if indeed it is. It might be helpful  
2 though to show that, if we can, we can be reasonably  
3 confident that the risk isn't as high as, say, 1 per  
4 10,000 which is the industrial standard that is what  
5 is considered to be acceptable in industries and  
6 usually considered to be safe.

7 Now the low-dose threshold theory, if we  
8 could agree that there is no radiation-related cancer  
9 risk associated with doses below, say, 2mGy, then the  
10 million people could relax. And it might be cheaper  
11 and easier to protect than it is today. I'm not sure  
12 that's true. But a low-dose threshold at, say, 2 mGy  
13 would be difficult to prove, very difficult to prove,  
14 for the same reasons that make it difficult to  
15 demonstrate the opposite.

16 The experimental and epidemiological  
17 evidence does not preclude tissue-specific thresholds.

18 But also it doesn't support, no at least, existence  
19 of a universal threshold operating in all or most  
20 tissues which is I think what you want to influence  
21 radiation protection policy.

22 So what would be the implications for  
23 radiation risk assessment of assuming some likelihood  
24 of a low-dose threshold?

25 Let's go back to this Monte Carlo

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 simulation of the uncertainty distribution for low-  
2 dose excess relative risk per Sy after division by an  
3 uncertain DDREF and this simulated distribution is  
4 roughly lognormal.

5 And here it is made nice. So it is really  
6 lognormal. So I can work with it. The mean 0.17, 95  
7 percentile 0.36.

8 Now here is the cumulative form of that  
9 distribution and if you want, this is how you get the  
10 upper 95 percentile. You just go over from -- Well, I  
11 didn't do that. You just go over from here over to  
12 there and you drop down and you get this 0.36. There  
13 isn't a way to do that with the mean, but here it is  
14 just for comparison and this is the lower 95 percent  
15 interval limit.

16 Now suppose we allow for the uncertain  
17 possibility of a threshold at some dose greater than  
18 the one we're interested in now. Suppose that for  
19 doses below some assumed threshold value, we accept  
20 that with 20 percent probability there is no excess  
21 risk. That's what an uncertain threshold would be.  
22 And with 80 percent probability, the previous  
23 cumulative graph applies.

24 So you start with this. Then we assume a  
25 20 percent probability of a threshold. So 20 percent

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 of the probability goes into zero and the rest from  
2 there is distributed 80 percent over this way. So you  
3 get a difference calculation. You have a mean that's  
4 -- Well, the mean is actually 80 percent of the  
5 previous mean because 20 percent goes to zero and the  
6 95 percent limit is obtained this way and it's  
7 slightly less than before.

8 Now let's suppose a 50 percent threshold  
9 probability. Okay. The mean is now half of the  
10 original mean and the 95<sup>th</sup> percentile of the  
11 distribution is shifted over a little bit more.

12 And now let's assume an 80 percent  
13 probability of a threshold. Now the mean is 20  
14 percent of the original and the 95 percent limit is  
15 shifted over quite a bit more, but it doesn't  
16 disappear. Neither does the mean.

17 And here is a graph that summarizes the  
18 previous four. We have as a probability as the mean  
19 value decreases proportionately to 1 minus p where p  
20 is the assumed probability of a threshold. The upper  
21 95 percent confidence probability limit is more  
22 complicated, but it actually remains quite high  
23 relative to the mean value until p approaches 0.95  
24 when it disappears.

25 Now the implications of an uncertain

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 threshold for radiation protection, well, for any  
2 given threshold probability the effect on the mean of  
3 increasing p is like dividing the excess relative risk  
4 per Gy by a fixed DDREF value which is equal to  $1/(1-$   
5  $p)$ . The 95 percentile limit decreases with increasing  
6 p but remains relatively high until p approaches 0.95,  
7 just what I said before.

8 The epidemiological and radiobiological  
9 information available does not suggest a high value  
10 for p at any threshold dose level high enough to  
11 matter. Thus, allowing for the possibility of a  
12 threshold should make very little difference to  
13 radiation protection.

14 Conclusions. Probably most people would  
15 object to exposure unless the potential benefit  
16 clearly outweighs the potential risk or they judge  
17 that the risk is truly negligible. Information on  
18 risk and its upper probability limits, in particular,  
19 are important to this process. If the scientific  
20 consensus were that a threshold is very likely, we  
21 should take that into account. But otherwise, I  
22 think, the threshold possibility is mostly a  
23 distraction and can be largely ignored in risk  
24 protection.

25 And that's my talk.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 CHAIRMAN RYAN: Okay. Thank you very  
2 much. Questions? Comments? Ken.

3 DR. MOSSMAN: Charles, you and Warren  
4 Sinclair authored that excellent report. I think it's  
5 NRCP 121 or --

6 DR. LAND: 126.

7 DR. MOSSMAN: 126 which essentially  
8 reviewed in a good bit of detail the sources of  
9 uncertainty in risk estimates and I was struck by the  
10 -- Well, you reported in some detail on uncertainty  
11 related to dosimetry, population, transfer and also  
12 DDREF. But there seems to be one other factor that  
13 wasn't included and I wonder if you could comment and,  
14 that is, if we assume LNT to be right, what's the  
15 uncertainty in dose extrapolation? In other words, to  
16 get down to doses that are typically involved in  
17 nuclear power plant operations --

18 DR. LAND: That's the DDREF.

19 DR. MOSSMAN: All the DDREF is doing is  
20 changing the value of the risk coefficient, changing  
21 the slope. Right?

22 DR. LAND: Yes.

23 DR. MOSSMAN: But what I'm talking about  
24 is the actual extrapolation of extrapolating from  
25 almost two orders of magnitude. You know, if we say

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that we know risk at 100 mSv, many nuclear power plant  
2 workers are getting doses closer to 1 mSv. So that's  
3 hundred fold reduction in risk and that's a  
4 substantial extrapolation and my question is what's  
5 the uncertainty in doing that dose extrapolation. I  
6 mean, is that a --

7 DR. LAND: That really is what the DDREF  
8 is about. You can make a DDREF more complex and have  
9 it be dose dependent so that it goes down. You can if  
10 you can justify it. But that's how you would handle  
11 it.

12 DR. MOSSMAN: I don't --

13 DR. LAND: The DDREF takes into  
14 consideration what we think we know about this  
15 extrapolation.

16 DR. MOSSMAN: I mean, the DDREF really  
17 isn't a dose extrapolation. It's a dose rate  
18 extrapolation. You're accounting for repair and other  
19 kinds of radiobiologic phenomenon that ultimately  
20 result in a reduction in radiobiologic effects that  
21 you see when the dose rate is reduced.

22 DR. LAND: You know, if you can only deal  
23 with what you know or you have some familiarity with  
24 and I think that what you're -- It's again I do think  
25 that the way to handle it is with DDREF. The DDREF

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 have this one real bad -- probably there's a  
2 disconnect and it goes down and then you go down like  
3 that. Well, actually, in the radioepidemiological  
4 table stuff we put in a kind of segue in a curvilinear  
5 thing and I think that once you get down to really low  
6 doses that dividing the dose by another factor of 10  
7 probably doesn't make much difference, at least, as  
8 far as the theory are concerned. That if the  
9 difference between a one and 100 chance of having a  
10 traversal and a one and a 1,000 chance of having a  
11 traversal, it shouldn't make that much difference, I  
12 mean, besides dividing by ten, of course. And if your  
13 question involves something else, I don't understand  
14 it.

15 DR. MOSSMAN: Yes, I'm just -- The dose  
16 extrapolation --

17 DR. LAND: That's the whole thing. That's  
18 what we're talking about is the dose response  
19 function. We're talking about the shape of the dose  
20 response function. We have a linear model and then  
21 we're modifying it by a DDREF.

22 DR. MOSSMAN: I guess what I'm really  
23 trying to ask is there is a difference in uncertainty  
24 if I'm extrapolating by a factor of ten or a factor of  
25 100. I mean, the closer I get to zero, do I see any

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 more uncertainty in the dose extrapolation? I guess  
2 that's the question I'm asking.

3 DR. PUSKIN: I would say that the approach  
4 that was in there, there's a hidden assumption in  
5 there that the dose response is a linear quadrate and  
6 therefore and extrapolating down --

7 DR. MOSSMAN: Not at low dose.

8 DR. LAND: Not at low dose. Well, dose  
9 squared is --

10 DR. PUSKIN: Dose squared. As you  
11 extrapolate to low doses and low dose rates that  
12 there's a single function like that that describes it.

13 But the real question is what's the chance -- Is  
14 there some mechanisms that come in between where we  
15 can observe it epidemiologically and zero that change  
16 that dramatically.

17 So the uncertainty in this that's in that  
18 report presumes the only uncertainty is in this single  
19 factor that the dose response is of that form. If  
20 that's the case, there really isn't much uncertainty  
21 about radiation risks. But I think the question is is  
22 there something below that kicks in.

23 DR. LAND: Right.

24 DR. PUSKIN: And you considered that when  
25 you put different percentages on thresholds or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 something where that whole function no longer  
2 describes things. So something else might -- The dose  
3 response would be something else.

4 So that's the question. As you go down, I  
5 won't say where we have the data at this point, go  
6 down from where we have data to where we don't is what  
7 does the dose response look like at those doses, those  
8 dose rates.

9 DR. LAND: The DDREF is uncertain. It has  
10 uncertainty built into it.

11 DR. MOSSMAN: Right.

12 DR. LAND: And I suppose with more you  
13 actually might have a more sophisticated evaluation of  
14 the DDREF as a function of dose or dose rate. But it  
15 isn't. We don't. So far we just have what was handed  
16 down.

17 DR. MOSSMAN: If DDREF is a function of  
18 dose, then does that preclude LNT as a -- Again, DDREF  
19 is -- The way it's used is simply an external  
20 correction to the LNT theory because all you're doing  
21 is multiple the risk coefficient, the slope, by some  
22 factor.

23 DR. LAND: Right. Of course, yes

24 DR. MOSSMAN: But then -- And we're  
25 assuming dose independence when we apply DDREF. But

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 if, in fact, --

2 DR. LAND: We are now.

3 DR. MOSSMAN: I'm sorry.

4 DR. LAND: We are now.

5 DR. MOSSMAN: Yes. Right. But if, in  
6 fact, DDREF is dose dependent, then that argues  
7 against LNT theory as the approach theory because then  
8 the degree to which you are modifying the risk  
9 coefficient changes with dose and therefore it's not  
10 linear anymore.

11 I'm not -- I don't mean to -- I'm not  
12 making any astounding kinds of things. I'm just  
13 saying that it's my observation that LNT is no longer  
14 valid under that circumstance, but it requires dose.

15 CHAIRMAN RYAN: Tom, you had a comment.

16 DR. TENFORDE: Well, yes. A question  
17 related to the interpretation of the results of the  
18 life span study on A-bomb survivors. As you know, the  
19 curves generated by Preston and his colleagues showed  
20 some very intriguing features in the population  
21 exposed to relatively low doses, let's say, 20 mSv to  
22 50 mSv and yet the statistical analysis that I've seen  
23 presented in papers and the radiation research and  
24 elsewhere suggest that you can't really discriminate  
25 dose response models in trying to fit this data with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 different models.

2 DR. LAND: The low dose data, yes, that's  
3 true.

4 DR. TENFORDE: And I'm just wondering if  
5 with different uncertainty analysis assumptions you  
6 might arrive at a somewhat different conclusion.

7 DR. LAND: You know, I honestly don't  
8 think so and it's not -- it's a sort of a  
9 psychological thing, but the first thing we do when  
10 we're calculating things is we do straight lines.

11 DR. TENFORDE: Yes.

12 DR. LAND: And then if there's evidence  
13 that it's not a straight line, then you make it more  
14 complex. Well, actually when you're down at that low  
15 doses --

16 (Conference calling center.)

17 DR. LAND: -- There just isn't the  
18 information there. You can't --

19 CHAIRMAN RYAN: I'm sorry. I think we're  
20 getting a phone.

21 (Conference calling center.)

22 CHAIRMAN RYAN: I'm sorry.

23 DR. TENFORDE: Could I extend my --

24 CHAIRMAN RYAN: Please, yes.

25 DR. TENFORDE: Just to my related

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 question. As you know, there have been some very  
2 ambitious dog life span studies with various kinds of  
3 radiation and again, in the extremely low absorbed  
4 dose region, there are some intriguing features in  
5 terms of life span shortening and carcinogenesis,  
6 etc., and some people have even interpreted some of  
7 the data on life span to be supported of the idea for  
8 hormesis because some of the big old dog studies do  
9 show a dip in the dose response of low doses that  
10 would be suggestive of increased life span, not  
11 shortened life span, and this has been a subject of  
12 great debate and proponents for hormesis, of course,  
13 have seized on this as one of the central pieces of  
14 information from laboratory-based research in support  
15 of their theory.

16 And I'm wondering if you have applied  
17 uncertainty analysis to the interpretation of the data  
18 at low doses from many of these very ambitious, large  
19 scale animal studies, dog studies primarily.

20 DR. LAND: Maybe I could trade somebody to  
21 do that.

22 DR. TENFORDE: It might be a very good PhD  
23 thesis project or at least a Masters degree thesis  
24 project. Now a trivial thing to do, I'm sure, but it  
25 would be interesting to bring the full power of some

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 of these techniques you had described to bear on  
2 reinterpreting some of the data published in the  
3 literature you using fairly conventional statistical  
4 models and maybe not reaching exactly the best  
5 conclusions. Just a suggestion.

6 CHAIRMAN RYAN: All right. Well, thanks,  
7 Dr. Land.

8 PANEL DISCUSSION ON SESSION 1

9 CHAIRMAN RYAN: Again, we're at a point in  
10 the discussion where we have a panel discussion on  
11 this first session to discuss. Dr. Mossman, you've  
12 been taking copious notes. Maybe you could lead us  
13 off and again, this is kind of an open forum. Anybody  
14 that has any particular comments about any other paper  
15 or wants to offer some general comments or additional  
16 information, please don't hesitate.

17 So we'll start with the panel and then I'm  
18 going to ask could we get a few minutes if Members  
19 have particular questions of the first session to  
20 speak because we'll go through that and then we'll  
21 come to more discussion and hopefully finish up at or  
22 before 3:00 p.m., I'm sorry, at or before 3:00 p.m.  
23 We'll have some short break in there and then we'll  
24 have Stakeholder Participants who I believe are on our  
25 conference call or some are in the audience. I'm not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 exactly sure where but we'll manage between 3:15 p.m.  
2 and 4:00 p.m. or so or if we're running ahead of  
3 schedule, we'll close at about 4:00 p.m.

4 So with that, Mossman.

5 DR. MOSSMAN: How did you want to proceed?

6 CHAIRMAN RYAN: What have we learned so  
7 far?

8 DR. MOSSMAN: I haven't gotten the  
9 foggiest idea except it's all very, very complicated.

10 Let me just take a moment if I can just to  
11 sort of summarize what I think are the salient points  
12 and please the other speakers jump if I say something  
13 that's incorrect.

14 I thought that Commissioner Lyons set the  
15 stage very nicely. He obviously has serious  
16 reservations about LNT, but he is open to a serious  
17 dialogue among scientists to try to better  
18 understanding what's going on at low dose and it's  
19 understanding the science that I think is going to be  
20 key in determining whether we have a threshold or  
21 whether dose response is curvilinear or whether the  
22 problem is indeed intractable and so I thought he  
23 opened the conference with that idea and that was very  
24 useful.

25 In my own talk, of course, I tried to set

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the stage without getting into any detail to identify  
2 what I think are the key issues in the debate and the  
3 science is the topic of the day. Tomorrow we will  
4 have a talk from Professor Hammitt who will get into  
5 some nonscience issues.

6           President Tenforde, of course, from the  
7 NCRP talked about some of the reports that the Council  
8 has put out on the issues of LNT, risk estimates and  
9 the importance of, for lack of a better phrase, the  
10 new radiobiology, understanding non-targeted effects,  
11 things of that nature. And that's -- We need to look  
12 at the NCRP and the ICRP and other learned  
13 organizations for guidance in terms of where we need  
14 to go scientifically. So I think that the work that  
15 the Council is doing is critically important in many  
16 ways to lead the way.

17           That's not to say that Dr. Barcellos-Hoff  
18 and the other radiobiologists that are doing work in  
19 the DOE low dose radiation program aren't doing things  
20 appropriately. They are. But, of course, that's  
21 laboratory stuff and I think the NCRP, in many ways,  
22 provides a perspective, an additional perspective,  
23 which is very critical in terms of putting all of  
24 these pieces together.

25           I was struck by Mary Helen's presentation

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 in terms of the complexity of the data, not so much  
2 that we're talking about systems biology and that the  
3 systems are complex, but just the complexity of the  
4 findings and how we make sense out of all of this.  
5 And it seems like it's becoming as we answer more and  
6 more questions, additional questions continue to come  
7 up in a positive feedback loop, if I can use that, in  
8 a way that makes the problems even more difficult.

9           And understanding these various non-  
10 targeted effects, one of the issues that is of  
11 interest to me is what do these non-targeted effects  
12 mean with respect to our idea or the concept of dose  
13 where we've always thought about absorbed dose, the  
14 fundamental quantity that's of interest to  
15 radiological detection where we've always thought  
16 about that as deposited energy in some tissue and that  
17 that was the metric that was important in determining  
18 what the risk is.

19           Well, what the radiobiology is now telling  
20 us is that maybe that's wrong or, at least, maybe we  
21 need to start looking at it in another way, that the  
22 target, the radiation deposition target, is different  
23 than the radiation effects target. The radiation  
24 effect target or the radiobiologic target is much,  
25 much larger and maybe very different. So I was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 particularly struck by Mary Helen's talk in that  
2 regard.

3 Dr. Le Guen's talk about estimating the  
4 carcinogenic effects from low doses from the  
5 perspective of the French Academy of Science's report  
6 was extremely enlightening. If there was really a  
7 take-home message for me, it was not even a science  
8 message. What the message was is that we can all look  
9 at scientific data through honest interpretation of  
10 the data come to diametrically opposed positions. I  
11 mean, the French Academy of Sciences says one thing.  
12 The BEIR VII report says something else.

13 We can argue about who's right and who's  
14 wrong. I'm making the assumption that everybody is  
15 professional and everybody is making an honest  
16 interpretation of the data and yet we have these very,  
17 very different interpretations of what's going on and  
18 that's what we're faced with in this entire LNT debate  
19 is we're looking at bunch of data. People are looking  
20 at the data through different lenses and I was  
21 particularly struck by the differences in the reports  
22 in that way.

23 And then finally Dr. Land provided a very  
24 useful overview of some of the biostatistical  
25 questions, the uncertainties in risk, whether in fact

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we have a threshold, whether in fact a threshold can  
2 even be detected or measured or whether it's something  
3 that has a high probability of occurrence or has a low  
4 probability of occurrence and even if it does, does it  
5 mean anything and these are obviously key questions  
6 particularly in considering hormesis where you  
7 obviously have to assume that there's a threshold.  
8 But if we -- Depending on how you look at the  
9 threshold question hormesis either goes away or  
10 becomes a very, very serious alternative.

11 That's the way I saw things. Obviously,  
12 everybody else has different views. But I thought the  
13 session this morning was excellent.

14 CHAIRMAN RYAN: Thank you.

15 DR. MOSSMAN: And I applaud the speakers  
16 for excellent clear presentations.

17 CHAIRMAN RYAN: Let's start in the order  
18 we went. Next is Dr. Tenforde.

19 DR. TENFORDE: I'd like to echo what Dr.  
20 Mossman just said in terms of congratulating all of  
21 the presenters. I felt I learned a great deal today  
22 and you generated some interesting ideas and thoughts  
23 in my mind as well.

24 Let me more or less follow the procedure  
25 used. Dr. Mossman, first, with regard to your talk, I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 think after reading some of your papers and hearing  
2 you speak today, I certainly understand your concerns  
3 about using risk as a basis for setting guidelines and  
4 regulations.

5 I want to mention an activity that NCRP is  
6 about to embark upon and that is we have been told  
7 that we have funding for a report on uncertainties in  
8 radiation risk estimation and that will be a committee  
9 that will be chaired by Julian Preston who I think is  
10 probably a familiar name to most of you and we have a  
11 number of ideas of the candidates for the committee.  
12 But that committee in the scope of work that has been  
13 developed will address some of the issues on  
14 uncertainties in radiation weighting factors and  
15 tissue weighting factors. And you didn't mention  
16 this, but, for lack of a better word, the frailty of  
17 the tissue weighting factor and the ICRP effective  
18 dose system is that there are such large uncertainties  
19 as evidenced by the fact that in 2007 the tissue  
20 weighting factor for breast was increase two and a  
21 half fold and for testes decreased two and a half fold  
22 and those are rather large shifts and has some impacts  
23 on, of course, estimation of effective doses. So I  
24 share some of your concerns and I hope that a  
25 contribution from NCRP through this new committee

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 effort will be to try to pin down a little better what  
2 some of these uncertainties are and give a little  
3 better estimate thereby of effective doses.

4 With regard to Dr. Barcellos-Hoff's  
5 presentation which I thought was very elegant, you've  
6 I think made the case very well and I congratulate as  
7 well the DOE program for the importance of looking at  
8 integrated tissue responses and not just focusing on  
9 single cells because obviously there are so many  
10 modifying factors that come into play in an integrated  
11 system that moderate in one direction or another  
12 radiation responses that we've probably ignored them  
13 too long and it's great to see some of this new and  
14 very elegant work underway especially using some of  
15 these new three dimensional tissue models which I  
16 think are very interesting.

17 One thing I would like to comment on in a  
18 broad sense is that using acute radiation, there have  
19 been some differences that have been fairly well  
20 characterized between response as to high and low  
21 doses as more or less defined within the context of  
22 the DOE program. But I think when you look at human  
23 exposures particularly, for example, in an  
24 occupational setting, you're really dealing with  
25 fairly low dose rate exposures and I think it's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 extremely important and I hope this will become part  
2 of the DOE research program to a greater extent than  
3 it is today to look at dose rate effects in a  
4 practical sense, dose rates comparable to the dose  
5 rates we experienced from occupational or public or  
6 background exposure which is very low dose rates  
7 basically. And I think it's going to be necessary to  
8 sort that out in relation to low acute dose phenomena  
9 because we may begin to see -- issues enter in in a  
10 way that might not even expect. So there are some, I  
11 think, candidate model systems that would be good for  
12 those studies and I'd like to encourage that.

13           Also one thing that I talked with you  
14 about during the lunch break is very intriguing to me  
15 and has been for years. It's very well known that  
16 endogenous oxidative damage creates about 10,000  
17 strand breaks in DNA per day per cell. It's a lot.  
18 And so because we have placed quite a focus on  
19 oxidative interactions and damage from radiation and  
20 some in cases at very low doses, it brings to my mind  
21 the question of extracting the signal of oxidative  
22 damage from the radiation insult from the background  
23 endogenous oxidative damage that cells are coping with  
24 day in and day out. And that may actually be part of  
25 a survival mechanism for cells because it may enhance

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 oxidative damage control mechanisms, anti-oxidant  
2 levels, etc. So I think it would be interesting with  
3 the very low doses, centi-Gy and below, that are being  
4 used in many of the oxidative damage studies to try to  
5 somehow segregate the endogenous oxidative effects  
6 from the imposed oxidative effects of radiation and I  
7 wish I had some really good suggestions on how to best  
8 do that. I'm sure that there must be some approaches  
9 that can be taken.

10           And then another thing that has intrigued  
11 me which I don't -- We again talked about this at noon  
12 and that is we live in the background radiation on the  
13 average in the U.S. about 3 mSv per year and one  
14 question that intrigues me is supposing we had some  
15 laboratory test systems where we could shield the  
16 target tissues or cells or even animals. It's been  
17 suggested deep salt mines or places where the natural  
18 background fields are greatly reduced and then look at  
19 very low dose radiation effects.

20           When I was speaking earlier, I mentioned  
21 that one of the real challenges, of course, in going  
22 to very low doses to try to discriminate dose response  
23 characteristics is extracting the signal from the  
24 experimental system from the background radiation  
25 noise and that is a huge challenge and maybe this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 would be one approach to take. It's not an easy  
2 experiment to do but there have been suggestions of  
3 how to do it and possible places where it could be  
4 done.

5 I also was very intrigued by the report  
6 largely based on the conclusions of the French Academy  
7 and again I'll echo Dr. Mossman that it's very  
8 interesting that two groups of scientists looking at  
9 pretty much the same worldwide database should reach  
10 different conclusions about the LNT theory and I find  
11 that intriguing. I think that it would be of great  
12 interest to have a small subset of the BEIR committee  
13 and the French Academy committee try to ferret out  
14 what are the elements that have driven this difference  
15 in some of the final conclusions.

16 As I said of next week's NCRP meeting,  
17 there will be an interesting debate between Dave  
18 Brenner and Dietrich Averbeck from the French Academy  
19 group and I'm very anxious to hear the results of that  
20 and hopefully some things will come to light on the  
21 basic reasons for the final differences and  
22 conclusions. But again, I think that some of this may  
23 be driven in part by the type of studies that have  
24 been done comparing higher dose responses to lower  
25 dose responses, both from the biological perspective

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and the physical energy deposition aspects of  
2 radiation. I think that needs to be looked at very  
3 carefully.

4 And then finally, I thought that Dr.  
5 Land's presentation was very informative. Obviously,  
6 the role of uncertainty analysis has probably been  
7 understated over the years and I think we are really  
8 beginning to appreciate how important that is in  
9 estimation of risk and so I was very interested in  
10 your discussion of uncertainty analysis with differing  
11 models' response. I think that was very informative  
12 and hope that we'll see more and more applications of  
13 that in some of the studies that exist in the  
14 literature like the ones I mentioned, the life span  
15 study, which I think you've probably already looked at  
16 and some of the animal model studies, the dog life  
17 span studies, etc. So there may be some jewels to be  
18 mined there by doing a little more in-depth  
19 uncertainty analysis of the data and the way that it  
20 has been fit with varying models. Again, I think  
21 that's a very informative presentation.

22 I think that's about all. I'm pleased to  
23 be here today. I think there's been a lot of very  
24 enlightening discussion of low dose radiation effects  
25 and models. So thank you again for inviting me to be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 here.

2 CHAIRMAN RYAN: Thank you, Tom. Again,  
3 more to come this afternoon and more tomorrow.

4 Next, Mary Helen. First let me say that  
5 I'd like to add my thanks too for a very enlightening  
6 presentation. It was -- For the first time, it put  
7 together a picture of a biological model and a  
8 physical model of radiation dose, energy deposited,  
9 pre-heated mass. I won't think about it as mass  
10 anymore. I'll think about it as a system of biology  
11 that I have to think more carefully about. So that  
12 insight I think is one of the most important things  
13 that if we can take away a message. It's not dose per  
14 unit mass. It's dose per biological unit whatever  
15 that unit might be.

16 Yes, Dr. LeGuen.

17 DR. LE GUEN: Just I don't know if you  
18 know that we have a lot of slides that are close.

19 CHAIRMAN RYAN: Yes, very much.

20 DR. LE GUEN: Because the metric of the  
21 slide prepared for this morning was on publication  
22 raised after the French report.

23 CHAIRMAN RYAN: Right.

24 DR. LE GUEN: And in fact we have not the  
25 same result but the same approach in that we are very

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 close because I was much more on ATM and she was much  
2 more on TGF beta. But the conclusion of the different  
3 publication was not different, I think.

4 DR. BARCELLOS-HOFF: Yes.

5 CHAIRMAN RYAN: And again, just from a  
6 health physicist's point of view, we take a physical  
7 absorbed dose and we multiply it by factors, all kinds  
8 of factors, to get into a biological system. Maybe we  
9 ought to just change the fundamentals, the way we  
10 think about it a little bit, and think about what's  
11 the biologic system to which we are imparting  
12 something, whether it's energy or chemicals or  
13 information or whatever it might be.

14 So with that, I ask you to offer your  
15 comments on today's panel.

16 DR. BARCELLOS-HOFF: It's quite a lot to  
17 digest.

18 CHAIRMAN RYAN: It is.

19 DR. BARCELLOS-HOFF: For somebody who is  
20 not used to thinking about so many different sides of  
21 the problem. But I'd like to just start with a couple  
22 of general comments and actually keep them very brief.

23 I think it's actually one of the unique  
24 aspects of radiation biology as a community, radiation  
25 sciences as a community, is that we are really the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 original systems biologists. We start from physics  
2 and go all the way to disease and that's something  
3 that we don't give enough credit to our own field of  
4 research in trying how difficult that task is, how  
5 difficult it is to actually move through those  
6 different levels of molecular, cellular, tissue,  
7 organismal populations and that's something that we  
8 should actually acknowledge the difficulty of that  
9 problem.

10 Right now, biology is finally coming out a  
11 wave of reductionism to try to put these pieces back  
12 together and essentially systems biology is just that.

13 How do you extrapolate from one level of organization  
14 to the next which again is a problem that radiation  
15 biology and sciences has been trying to grapple with  
16 for many decades. I think that's something that we  
17 should kind of give ourselves a little breathing room  
18 in that, yes, it's a difficult problem.

19 I think that I completely have been  
20 reeducated in terms of what kind of implications are  
21 the fundamental radiation biology that I came into the  
22 field to do has in terms of understanding health  
23 consequences in humans and I really appreciate Dr.  
24 Mossman's comments of how -- radiation protection is  
25 not about the science at some fundamental level. It

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 has so many other layers again of input in society,  
2 economics, regulatory paradigms which we went to a  
3 meeting in Helsinki organized by the European Union  
4 that really brought this in terms of how I think about  
5 communicating the results of our very interesting  
6 radiation biology. And we can go on and on. I really  
7 truncated a lot of the details, I think, biologists  
8 get so enamored of that we forget, we lose sight of  
9 this bigger picture.

10 I think one of the things that I think  
11 this meeting is particularly important is getting that  
12 communication opened up and just trying to discuss it  
13 from the different perspectives. I thought that our  
14 discussions this morning on the science were very  
15 complimentary and it was remarkable to see how many  
16 overlaps we brought to the table and without any  
17 preparation in that regard because I made my talk  
18 yesterday on the plane.

19 So I think this is the important thing to  
20 recognize. I'm probably repeating myself at this  
21 point. So essentially it is a complex problem and we  
22 should give ourselves a lot of credit for even  
23 attempting it. And I see that the implications of the  
24 biology and the understanding of the biology have many  
25 more ramifications that we tend to think about at the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 biological level and that this is a really good venue  
2 to educate each other and to perhaps elaborate on this  
3 discussion productively.

4 CHAIRMAN RYAN: Great. Thank you.

5 Dr. Le Guen.

6 DR. LE GUEN: Well, I was really impressed  
7 today because for different reasons. Me, too, I  
8 really appreciate your point of view about economic  
9 approach and science approach not only based all on  
10 sciences. I fully agree about that.

11 I was also very surprised about a lot of  
12 overlaps that we had together because I promise I  
13 didn't have your slides before and you can say exactly  
14 that you didn't have mine before. We are really  
15 different of this. Because in fact from my point of  
16 view the best way is to have an open mind for the  
17 future, to say if you know one conclusion, that's why  
18 in fact I don't like so much to say to try to compare  
19 BEIR VII and French Academia report.

20 I think the most important is to try to  
21 have a good approach of the management of risk, of  
22 risk management. And I would like to this morning, in  
23 fact -- When I prepared my slides, I was thinking  
24 about is there a better understanding on the effect  
25 today than before when we used the LNT approach. And

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I said, yes, we have a lot. It's much more  
2 sophisticated today than before.

3 And my first point was to say, well, we  
4 must keep in mind that when we decide to take the LNT  
5 approach it was the next calculation from high to low  
6 to this and today we can say that it's not exactly  
7 like that and we know exactly that it's a different  
8 mechanism at low dosage than at high dosage. So on  
9 this point, we know.

10 But the other question is is there trouble  
11 if we use the LNT approach. From my point of view,  
12 there is no problem because for every day and we saw  
13 that also today that LNT is very convenient. But it's  
14 very important to not -- that be careful about LNT  
15 because it's not universal. If you want to have all  
16 the answers with LNT approach, you will make a lot of  
17 mistakes.

18 If we need to use LNT for managing, for --  
19 for population and so on, okay. But it's very  
20 important to education the population on this. If you  
21 don't educate -- Because the problem is that when we  
22 introduce Sv a long time ago, we introduced Sv as a  
23 unit of risk. So if you have a dose in mSv, in mSv, I  
24 can assess my risk easily. But it's not true.

25 That's why today we have trouble because

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 time has changed that shows that today is much more  
2 complicated than before. But it's not a problem. I  
3 think it's -- I'm very excited about the evolution of  
4 science today because, of course, I said during lunch  
5 it's like Lancet. Do you remember in 1993 the first  
6 pages on Lancet was p-53 the molecule of the year  
7 because all was based on cell. And with time, we've -  
8 - the molecule tool, we've observed that, of course,  
9 there is reaction into the cell. But there is also  
10 reaction on the tissue and on the body, too.

11 And that's why that's amazing and that's  
12 why I say also today it's not so easy to extrapolate  
13 from individual measurement, individual experiment, to  
14 in vivo because there is a lot of connection in vivo  
15 that it's not possible to see if we are only in vitro  
16 experiment. But that's not the problem.

17 So please let free the science and we will  
18 see and don't try to mix a political problem with  
19 science. I think science is a part of the problem,  
20 not only this, and perhaps I'm sure that with time and  
21 you know just three years ago we were not alone, but  
22 we were a little bit alone in Europe and it was  
23 amazing the presentation of Mary Helen's this morning  
24 to say now we have a great power to exactly the same  
25 approach and with a different experiment and perhaps

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 about my dialogue, about my sentence, that I said  
2 before. Perhaps we will have no sentences on the  
3 paper and I think with this we will have perhaps one  
4 day, you know, other connection with epidemiology.

5 You know, I'm also a scientific advisor  
6 and I give grants and subsidiaries to other French  
7 research team and we have begun to have molecular  
8 epidemiological approach. I believe a lot in this  
9 because this is a link between molecular science and  
10 epidemiological studies and I'm sure that alone for  
11 science it's not possible to have the answer. But  
12 also from epidemiological approach due to natural  
13 background and so on, about all confronting factors.  
14 As I said before, it will not possible to have the  
15 answer. But perhaps if we have a great link between  
16 the two approaches, perhaps we will see.

17 CHAIRMAN RYAN: That's interesting. Thank  
18 you.

19 Dr. Land.

20 DR. LAND: Well, I would like to just get  
21 something a little off my chest here that it's about  
22 purpose of radiation protection. And the idea that it  
23 is people have to agree what we tell them. They have  
24 to accept it.

25 And I think that, of course, there is an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 education process involved but generally if we decide  
2 if we can agree on a general approach I think probably  
3 it's going to be accepted.

4 But I'm just thinking of something that  
5 happened to me a couple of years ago. I was giving a  
6 talk on radiation related breast cancer to a group of  
7 breast cancer survivors in New York and I gave my  
8 speech and was asked a question about isn't there a  
9 better alternative than mammography. And I said,  
10 "Well, there probably is some small risk associated  
11 with mammography, but we don't think it, we don't see  
12 how it could be very great and when you look at the  
13 risk compared to the benefit it really generally in  
14 most situations where it's used the benefit clearly  
15 outweighs the risk" and there was this rustling in the  
16 room and then somebody stood up and said, "You just  
17 don't understand. We don't want risks. We just want  
18 benefits."

19 (Laughter.)

20 DR. LAND: It's a very reasonable thing to  
21 say actually. But the fact is that really you do have  
22 to accept risks in order to get benefits and how to  
23 get that across in this whole essential political  
24 nature of the radiation protection. I just don't  
25 think that you can make it fly and to say there isn't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 any risk at really low doses just isn't going to work  
2 unless you have enormous agreement among all sides.

3 So I think the problem is a difficult one,  
4 but I think it's actually solvable by emphasizing the  
5 tradeoff and again addressing people's concerns and  
6 being seen to address people's concerns. That's it.

7 CHAIRMAN RYAN: Thank you. Great. Thanks  
8 for sharing that story. That's an epiphany of sorts,  
9 I guess, to hear that message.

10 With that, I'd like to -- I'm sorry. Yes,  
11 Dr. Le Guen.

12 DR. LE GUEN: Yes, just a reaction because  
13 you mention a very good question. We have exactly in  
14 front exactly the same trouble today about women with  
15 BfCR1 and BfCR2 mutation and about the different exam  
16 and between mammography and echography and IRM, MRI.

17 Okay. IRM in French, MRI. And it's not so easy  
18 because, of course, there is a risk/benefit and we  
19 have to take into account the risk of exposure with  
20 mammography and because we are physicians we must  
21 propose monitoring for these women because it's of a  
22 great important to be sure to see the concern as a  
23 very small step, as a very small concern.

24 And the question is we need to propose  
25 mammography every year, every two years, every five

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 years and we know if we wait too long, if we wait a  
2 long time, it's a risk for the woman. But if we  
3 propose mammography every year, we have a risk of  
4 concern due to the radiation, to the mammography, to  
5 X-ray and that's a real problem.

6 And today we have not found an consensus  
7 on this point. That's why it's not so easy to answer.

8 And we know that in fact it's not only one exam and  
9 we must take into account it's three exams,  
10 mammography, echography, and MRI.

11 CHAIRMAN RYAN: Very good. With that, I'd  
12 like to ask if the ACNW&M members have any questions  
13 and start with you, Allen.

14 VICE CHAIRMAN CROFF: I have a couple.  
15 First, thank you for some very interesting  
16 presentations. After a couple times around, I think  
17 I'm starting to understand at least some of it.

18 I'd like to note Dr. Tenforde's mention of  
19 background which I thought was appropriate and use  
20 that to segue into my first question. I come at this  
21 whole issue from, I guess, let me call the perspective  
22 of a regulator. This committee doesn't regulate, but  
23 we advise the Commission on technical issues related  
24 to regulation.

25 And from that perspective, we sort of in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 my view start at a dose of about, let's say, 200,  
2 maybe 300 mSv over a lifetime. That's a natural  
3 background and that's sort of a floor. This Agency  
4 and nobody else can do anything about it. We all get  
5 this kind of a dose, some people more, but that's an  
6 average for natural background. And let me preface my  
7 remarks also by saying I'm going to focus on low dose  
8 rate situations. But if we're starting at a floor of  
9 about 200 mSv it seems to me from the perspective of  
10 this agency we're interested in regulating and  
11 interested in dose response in the range of, say, 200  
12 to 500 mSv for most situations. Occupational can run  
13 you up a little bit. There's variability in there,  
14 but it's that kind of a range we're interested in.

15 Now going back to what I've heard around  
16 the table from a number of you as to at what point the  
17 uncertainties in dose response start to get to the  
18 place where you really just don't have much confidence  
19 and you can't tell what's going on. In various talks,  
20 I've seen numbers that seem to be around 100 to 200  
21 mSv, again low dose rate and my first question to the  
22 group is did I hear that right and is there some  
23 reasonable degree of confidence in the dose response  
24 curves in the 200 to 500 mSv range?

25 Don't all jump in at once.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 DR. LAND: I think there is. I think  
2 there is very definitely evidence of excess risk in  
3 that range.

4 VICE CHAIRMAN CROFF: That's the  
5 impression I took away from what I heard from more  
6 than one of you as a matter of fact. But I wanted to  
7 make that explicit. Does anybody think that's not the  
8 case?

9 DR. PUSKIN: I think it's more complicated  
10 because it really depends on what time period you're  
11 talking about the dose. If you're talking about dose  
12 per year or dose per day.

13 VICE CHAIRMAN CROFF: No, I'm talking  
14 about low dose rate. On the order of background dose.

15 DR. PUSKIN: We don't have -- I'd say we  
16 don't have any data at that range.

17 DR. LAND: I take it back.

18 DR. PUSKIN: That's -- It has to be  
19 extrapolated. We don't have any data at low dose  
20 rates really.

21 VICE CHAIRMAN CROFF: With my definition  
22 of low, if you will.

23 DR. PUSKIN: Yes, right, unless --

24 VICE CHAIRMAN CROFF: So you're saying the  
25 complicating factor is that the dose rates where we do

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 have data are more what you're currently defining to  
2 be -- I've heard numbers like 10 centiGy, I'm sorry, 1  
3 Gy a day and something on this order.

4 DR. PUSKIN: No, much lower than that.

5 VICE CHAIRMAN CROFF: Lower than that?

6 DR. PUSKIN: Certainly 1 centiGy, less  
7 than 1 centiGy in a day.

8 VICE CHAIRMAN CROFF: Okay.

9 PARTICIPANT: Is there data at that point  
10 for less than 1 centiGy a day?

11 DR. PUSKIN: A little bit less, yes.

12 DR. LAND: If there's a risk at 50 mGy,  
13 then it's not much of a stretch to say that there's a  
14 risk at 2 or 1. That isn't a stretch.

15 And the question that I wonder about is  
16 when you're talking about really fractionating doses  
17 spread over a long time, how are you going to get that  
18 kind of data?

19 VICE CHAIRMAN CROFF: Okay. That's the  
20 other --

21 DR. HOLAHAN: One of the places I think  
22 we're going to get some information in the future is  
23 going to be with our occupational workers and our  
24 occupational workers if you look at the IARC study on  
25 average they've had about 20 mSv. Now keep in mind

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 those workers generally men have gotten a background  
2 of cancer incident rate probably over 40 percent,  
3 cancer mortality rate of about 20 percent. And those  
4 exposures even over a ten year period are probably  
5 going to take another 30 or 40 years to manifest  
6 themselves so that you see an excess over background.

7 And we haven't gotten to that point yet.

8 The early indications and I'm going to  
9 call them early indications from the 15 nation IARC  
10 study said that among those workers that were only  
11 exposed to external radiation, anyone who had internal  
12 radiation was pulled out of the cohort, their average  
13 exposure being about 20 mSv, about one percent of  
14 their cancer was associated with that occupational  
15 exposure. Now that was primarily biased by Canadian  
16 data and I think that's going to be corrected and  
17 rescinded. But that's going to be a source of data in  
18 the future to look at because generally those workers  
19 were 40 years of age and have clearly not had enough  
20 time to express an excess.

21 The second set of data that we're going to  
22 see are probably going to be the resident along the  
23 Techa River because of releases from the Mayak  
24 Production Association. There we have data that  
25 probably extends over 50 to 60 years. We're looking

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 at access cancers in that population. There were  
2 exposed to very low compared to the occupational and  
3 some of the other stuff exposures. But again, the  
4 problem there is reconstructing the doses and  
5 assigning some dose to their background. Again,  
6 that's going to be complicated by a lot of other  
7 factors, too, socioeconomic being one. It's the food,  
8 what they drink, what do they smoke compared to a  
9 reference population.

10 But there I think in the next 10, maybe 20  
11 years, we might be able to extract some information  
12 and again the latter program is supported by DOE. DOE  
13 is putting a lot of money into that as well as NIH.

14 DR. MOSSMAN: I think the Techa River  
15 study will be very informative because doses are  
16 fairly high there. Now in the 15 country IRAC study  
17 I'm not sure how to interpret that data because I get  
18 to see any stratifications of the data according to  
19 dose.

20 I mean, you say, and correctly so, that  
21 the average was something like about 20 mSv. But what  
22 we don't know is among the groups that received the  
23 highest doses what's their cancer rates versus the  
24 populations that received much lower doses. So we  
25 can't -- Until we stratify the data according to dose

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 intervals, we really won't understand in that  
2 population what the magnitude of the risk is.

3 The doses that we're typically seeing now  
4 which is under a half of -- Well, it's under 5 mSv per  
5 year, well under that in many instances. So I think  
6 the jury is still out in terms of the 15 country  
7 study. It's a very important program because there's,  
8 what, 400,000 nuclear workers involved.

9 DR. HOLAHAN: Actually, it's closer to  
10 600,000.

11 DR. MOSSMAN: Is it 600,000? Yes. But I  
12 think until we understand the stratification according  
13 to dose it's going to be difficult to really  
14 understand what the magnitude of the smaller dose is.

15 All of the cancer we may have been seeing may have  
16 been those that were exposed very early and at very,  
17 very high doses.

18 DR. LE GUEN: Of course, it's very  
19 important to have a meta analysis study in order to  
20 have a large cohort. But one of the problems that we  
21 have about large cohort is the uncertainty. About the  
22 15 country, there was problem about the uncertainty  
23 due to the Canadian cohort and if you exclude this  
24 Canadian cohort it would be better.

25 And a similar point, this is very

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 important to continue this study. Why? In fact, I'm  
2 involved in the French cohort of nuclear workers and  
3 this French cohort is too young for the moment. And  
4 that's why it will be very important to continue  
5 during the next 20 years to follow this population  
6 because you remember my relation between age and  
7 concern and you increase the number of concern with  
8 age and, of course, if your cohort is too young, it's  
9 not -- you are not able to see a small excess of  
10 concern.

11 So we are decided in France to continue to  
12 support because, of course, for the future if we want  
13 to assess a risk at low dose this is very important to  
14 take into account these nuclear workers. But also  
15 perhaps medical examination, don't forget this because  
16 we have a broad population because we are all involved  
17 in this cohort and perhaps it's also of great  
18 importance to AP epidemiologists, AP epidemiological  
19 studies with medical examination.

20 DR. MOSSMAN: But it's also -- To follow  
21 up, it's important to look at leukemia as a sentinel  
22 disease. I mean, we ought to be able to see that in  
23 increase before we see anything else and that ought to  
24 -- We should be seeing increases in leukemia 10, 15,  
25 years, even earlier than that, following exposure. So

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I think we ought to be getting indications of what the  
2 risks might look like by particularly paying attention  
3 to the leukemia because in general they're latency is  
4 shorter.

5 CHAIRMAN RYAN: Just go there and then --

6 DR. PUSKIN: There are several other  
7 studies on chronic exposures like the Taiwanese  
8 apartment dwellers, people who lived in apartments  
9 that had cobalt-60 contamination steel. We had quite  
10 a range of doses. The epidemiological follow-up is  
11 very short now. So there's data that's pretty  
12 preliminary on that. There's -- I think there's some  
13 --

14 There are some old studies where we really  
15 don't know the dose, but we know the chronic dose did  
16 elevate cancer rates in radiologists back when they  
17 didn't control the doses very much or medical  
18 technicians. There is --

19 CHAIRMAN RYAN: Relatively small groups  
20 though. Not huge numbers.

21 DR. PUSKIN: No, but another one that's  
22 very worth looking at is the clean-up workers at  
23 Chernobyl whose doses were over a few months at least  
24 and there is one study so far that they have not, I  
25 don't think, seen leukemia where you might have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 expected to see it. That's an interesting group.

2 CHAIRMAN RYAN: Allen.

3 VICE CHAIRMAN CROFF: Vince, did you have  
4 something?

5 CHAIRMAN RYAN: Vince, sorry.

6 DR. HOLAHAN: Leukemia has been observed  
7 in -- It wasn't picked up in the IARC study because if  
8 you received any internal exposure, the reprocessing  
9 activities or even up in Canada having gotten exposure  
10 to tritium, they were among the 200,000 that were  
11 pulled out of the cohort. So you have to really watch  
12 the methodology of the study and how the protocol is  
13 set up.

14 VICE CHAIRMAN CROFF: Okay. I had a  
15 second question if I could and going back to  
16 Commissioner Lyons this morning who expressed some  
17 degree of frustration over the collective dose issue  
18 which I share and let me try to pose the question like  
19 this. For the purposes of regulation, let's say, the  
20 policy has been LNT and, as Commissioner Lyons said,  
21 if that is the policy, collective dose immediately  
22 follows. You can do very simple math. There it is in  
23 front of you.

24 But yet the ICRP, for example, on one hand  
25 says use LNT, but on the other hand they say you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 shouldn't use collective dose to produce risk to  
2 populations.

3           And what I'm leading up to given that this  
4 is a technical body here. In other words, we don't do  
5 social factors and not really economics, is there any  
6 technical reason the panelists can come up with why  
7 such use of collective dose is not or should not be  
8 done or is inappropriate. Let me phrase it that way.

9           DR. LAND: I can't think of any technical  
10 reason why you shouldn't use collective dose.

11           DR. PUSKIN: I think it's just important  
12 when you use it that way to put in context --

13           CHAIRMAN RYAN: How about a 10 millirem a  
14 year per person in addition to background?

15           VICE CHAIRMAN CROFF: On what basis?

16           CHAIRMAN RYAN: I'm just saying. Ten  
17 millirem in addition to background should be treated  
18 as just a multiplication and it's the added risk. But  
19 I struggle with any addition dose that's within -- I  
20 don't know. Pick a number. One segment of the  
21 average of background in the U.S. and saying that's  
22 added risk.

23           DR. PUSKIN: I would say you should put it  
24 in context. Two things. One is that it's based on  
25 the assumption of LNT and that we're not positive

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that's right. And the second is that the individual  
2 risk is for individual probably down -- if it's like a  
3 dose as an individual, you probably would not be  
4 concerned about.

5 VICE CHAIRMAN CROFF: I fully agreed it  
6 needs to be put in the context of the background  
7 collective risk and other risk people get and also it  
8 needs to be done properly.

9 CHAIRMAN RYAN: I say you could  
10 miscommunicate the risk. That's my problem with it.

11 DR. PUSKIN: It could also be -- I think  
12 the misuses come in to trying to apply to populations  
13 you really don't know their background rates, for  
14 example, populations -- months from now.

15 VICE CHAIRMAN CROFF: It's interesting  
16 that the IRSP in the separate report in an appendix to  
17 it gave what I thought was some pretty good advice on  
18 sort of how to do uncollected dose. You have to apply  
19 it to homogenous groups with similar lifestyles and  
20 this kind of stuff and, of course, if you're looking  
21 at a very large population, release Krypton-85 or  
22 something that persists in the atmosphere, that can  
23 get to be a real chore.

24 But I just wanted to make sure and I also  
25 recognize that there are other balancing factors, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 economics and social aspects and would the use of the  
2 collected dose result lead you to spend a lot of money  
3 on something that doesn't make any sense is very valid  
4 as a policy issue, but not necessarily --

5 DR. PUSKIN: I do have a problem though if  
6 you say don't use. I think there's a danger that  
7 people think you're hiding something. In other words,  
8 some scientist is going to come along and use it  
9 because there's, I would say, pretty good evidence for  
10 LNT and it's not all conclusive, but there's a  
11 scientific basis for it. Somebody is going to go out  
12 there and calculate it and they're going to put out  
13 the number and if you're going to say "I'm just not  
14 going to look at that."

15 CHAIRMAN RYAN: No, no. I think you can  
16 do whatever you want as long as you recognize its  
17 limitation. Very often, what you say is true, people  
18 use it and never site the limitation.

19 DR. PUSKIN: Right.

20 CHAIRMAN RYAN: That's just as bad as not  
21 leaving it silent.

22 DR. BARCELLOS-HOFF: And essentially what  
23 you touched on is how do you communicate information  
24 about risk.

25 DR. LE GUEN: Absolutely.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. BARCELLOS-HOFF: And one of the things  
2 that people -- If you just listen to risk  
3 communication discussions, you were just exposed to  
4 1,000 mSv, 1,000, and that number impresses people.  
5 If you say you were now exposed 0.0001 whatever it is  
6 which I can never do it just loses any impact and I  
7 think one of the things that we tend to, and I think  
8 probably what you're alluding to, is how you  
9 communicate risk to regulatory bodies or to the public  
10 and we don't do a very good job of that.

11 One is we have all these different units  
12 which is impossible to keep track of even as a  
13 radiation biologist in terms of --

14 CHAIRMAN RYAN: -- bilingual in the U.S.

15 DR. BARCELLOS-HOFF: But there's also the  
16 same that you could ask the other question. Why use  
17 collected dose? Why do you use it? Under what  
18 circumstances do you use it? And what does it convey  
19 --

20 DR. LAND: Just a higher smokestack thing.

21 DR. BARCELLOS-HOFF: Yes.

22 DR. LAND: You know, you get -- you spread  
23 it out more and you think it isn't going to go away.  
24 It's sort of reasonable to think that maybe you're  
25 just causing just as many cancers only they're spread

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 out over a larger area. So nobody will ever find out  
2 and that seems to me that's morally not such a good  
3 thing to do.

4 DR. MOSSMAN: Yes. It's equivalent in  
5 insurance to spreading the risk and I'm not sure that  
6 there's really any value and you're right, Mary Helen.

7 It's a question of communication. If the idea is  
8 communicating risk, collective dose is not the way to  
9 do it. I think that there are ways in which you can  
10 frame risk that uses appropriate analogies that helps  
11 people understand what the magnitude of the problem is  
12 and I think that that needs to be the approach.

13 But to me, collective dose is really its  
14 true value is in looking at trend analysis, evaluating  
15 job scenarios, things of that nature. I think that's  
16 where it's very, very useful. You do not calculate  
17 any kind of risk from that. You're just using a --

18 CHAIRMAN RYAN: It's a relative measure.

19 DR. MOSSMAN: Yes, it's relative measure.  
20 That's right.

21 (Simultaneous speakers.)

22 CHAIRMAN RYAN: -- dose than this way of  
23 doing it.

24 DR. MOSSMAN: Right.

25 CHAIRMAN RYAN: And that's a good tool to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 use in the -- I agree with that.

2 DR. MOSSMAN: It's a good tool. Yes, it's

3 --

4 DR. LE GUEN: That's a good word. It's a  
5 tool.

6 DR. MOSSMAN: I mean, dose -- There's  
7 nothing wrong in an ALARA situation to establishing  
8 dose targets in which the dose target is expressed as  
9 a collective dose and then your idea is then in the  
10 population that you're managing to make sure that that  
11 trend analysis meets this dose target and you might  
12 want to say 300 millirem per person, mSv, of whatever  
13 it is for the large population and you evaluate your  
14 ALARA program based on that. That's fine.

15 DR. PUSKIN: I think take a couple more  
16 controversial uses of collective dose and one would be  
17 after the Chernobyl accident dose to the European  
18 population result in roughly 10,000 cancer deaths.  
19 That would be one. Right? Another one would be the  
20 latest one about the dose from CT scans that there are  
21 so many cancers.

22 Now I know I'm going to be in the minority  
23 here. I would say those are both legitimate uses of  
24 collective dose in terms of looking at the population  
25 impact of an activity. Now from an individual risk

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 standpoint, the people need to understand that there  
2 is, first of all, that there is an uncertainty about  
3 that and, secondly, that particularly in the medical  
4 case, that this risk is balanced by a benefit that is  
5 larger in almost every case.

6 CHAIRMAN RYAN: In whose judgment?

7 DR. PUSKIN: Well, I think the --

8 PARTICIPANT: It's a personal judgment.

9 DR. PUSKIN: I think we could -- I think  
10 the medical community --

11 CHAIRMAN RYAN: I got your point.

12 DR. PUSKIN: Assuming LNT is correct you  
13 could say that the benefit is greater than the risk  
14 for those exams unless the exam is unnecessary.

15 CHAIRMAN RYAN: But that's -- You know,  
16 the hard part to me, Jerry, is not that I agree or  
17 disagree with you. It's that's your assessment and a  
18 reasonable person could come up with exactly the  
19 opposite assessment and that's to me the flaw in LNT  
20 as a tool or as a metric or whatever you want to call  
21 it for the purpose of making the assessment. If, in  
22 fact, it's a dose based way of thinking, if, in fact,  
23 all that we've heard about biology tells us it's not  
24 that simple then we're sort of, it seems to me,  
25 backing up just a bit to keep waving it as the flag

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we're going to rally around.

2 Just for the sake of the discussion, I  
3 offer that to you. It's really easy and comfortable  
4 and familiar. That doesn't mean it's right.

5 DR. PUSKIN: I don't understand how else  
6 you can examine the question as to whether CT scans  
7 are a good thing or not unless you look at the  
8 projected risk that you might incur and look at the  
9 benefits of it. If you're going to say I'm not going  
10 to calculate it because the risk is too low --

11 CHAIRMAN RYAN: Calculating it is fine,  
12 but the real proof would be in the epidemiologic study  
13 that examines that question, not in the estimate of  
14 what it might look like when we're done with the  
15 study.

16 DR. PUSKIN: I don't know if that's true.  
17 I think if it really came out that the calculation  
18 showed that based on LNT CT was a bad thing for a  
19 whole slew of purposes I think there would definitely  
20 be resistance using CT for that purpose. I don't  
21 think you'd wait 30 years and see if there's a bunch  
22 of cancer showing up.

23 That's the old way. That was the old way  
24 they used to regulate the environment in the 1800s,  
25 but I don't think that's --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 DR. MOSSMAN: The alternate -- the flip  
2 side of that is also true. If you look at coronary  
3 angiography which has associated with very, very high  
4 doses, can be anyway in a complicated case. You can  
5 make the argument that there isn't probably a person  
6 alive who would not accept such a procedure if they  
7 told you, if the doctor told you, "This is a critical  
8 procedure for us to diagnose your condition. We need  
9 to be able to do this in order to save your life", and  
10 under those circumstances you accept the risk.

11 The bottom line then is that risk and how  
12 one perceives it, is very much dependent on the  
13 context in which the person is in. I mean, you know,  
14 if it's something for which you derive personal  
15 benefit, suddenly the risk acceptability goes way up.  
16 You know, and I think that we to keep that kind of  
17 stuff in mind. I'm done.

18 CHAIRMAN RYAN: Okay, thanks.

19 DR. MOSSMAN: Thank you.

20 CHAIRMAN RYAN: Ruth?

21 MEMBER WEINER: Thank you. First of all,  
22 just following up on that discussion, I'd like to  
23 thank Dr. Mossman for making the statement on the  
24 slide that if the individual isn't harmed, the  
25 population isn't harmed either. Thank you for that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 But my question to the -- an individual.  
2 That wasn't what was on your slide. I'd like to ask a  
3 question though and that is something that was not  
4 really addressed. And that's the question of  
5 accumulation of damage with dose and it's something  
6 that those of us in another life -- I deal with  
7 Environmental Impact Assessment and projections of  
8 doses to populations. And the common way to do this  
9 is to say, you have a population exposed to a dose of  
10 X from one event.

11 Now, if you have 100 of those events over  
12 a period of 25 years, you are -- you are exposing that  
13 population to an accumulated dose. Is that a valid  
14 concept?

15 CHAIRMAN RYAN: Those would be the  
16 imaginary doses.

17 MEMBER WEINER: The imaginary doses, but  
18 this is very commonly done. Every DOE Environmental  
19 Impact Statement does it. And I am asking the group,  
20 is that a valid construct? Can you say that a group  
21 of individuals, a population, exposed to a particular  
22 dose from one event if that event is repeated, you  
23 have 100 similar -- 100 events of the same type which  
24 exposed that population to the same dose, and those  
25 100 events take place over a period of let's say 25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 years.

2 DR. LE GUEN: This is the definition of  
3 the natural background.

4 MEMBER WEINER: But is -- this is above  
5 the natural background. Is this a valid way to  
6 accumulate doses?

7 CHAIRMAN RYAN: Well, the real question,  
8 Ruth, is you use those numbers to assess the  
9 appropriateness or inappropriateness of some activity.

10 MEMBER WEINER: Yeah, and --

11 CHAIRMAN RYAN: So it's only in that  
12 context you can ask that question.

13 MEMBER WEINER: Well, it is used to assess  
14 the appropriateness of --

15 CHAIRMAN RYAN: Something, it doesn't  
16 matter what it is.

17 MEMBER WEINER: -- something and I'll even  
18 say what it is that I'm thinking of. The  
19 transportation of radioactive materials, you go by a  
20 population that lives along the side of the road.  
21 You're exposing them to a very low dose, it's a very  
22 low individual dose. I mean, it's like  $10^{-5}$  sieverts  
23 per -- as the average dose. You're exposing this  
24 population and then you have 100 shipments and then  
25 you take that 100 shipments are spaced over 25 years

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 say and you calculate and dose.

2 CHAIRMAN RYAN: So what's the nature of  
3 the background you're talking about 10 to the minus  
4 nothing?

5 MEMBER WEINER: Okay, yes, that's the  
6 answer to the question, but I ask, do the doses  
7 accumulate?

8 DR. MOSSMAN: In fact, what you do in the  
9 Environmental Impact Statement is you assume that they  
10 do.

11 MEMBER WEINER: Yes, exactly.

12 DR. MOSSMAN: And as -- to establish an  
13 upper limit of risk, now, then you can begin factoring  
14 in DDERFs or whatever to determine dose rate in all of  
15 that but in the impact statements that I've been  
16 involved in, just assume the dose has been received  
17 all at once. It's not been received over 25 or 30  
18 years. You receive it all at once. You do the  
19 calculations to determine what the cancer risk is to  
20 the population and that's the worst case scenario.

21 MALE PARTICIPANT: But that didn't answer  
22 her question.

23 MEMBER WEINER: Thank you, Ted. It did  
24 not answer -- the question, is that a valid procedure?  
25 I know that we do it. But what is that procedure

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 communicating?

2 DR. BARCELLOS-HOFF: That procedure is  
3 communicating that you have a biophysical -- is the  
4 biophysical model of radiation damage. In other  
5 words, any increment of dose is going to have some  
6 increment of damage and that is cumulative. It  
7 doesn't have to be cumulative in the same cell. It  
8 can be just cumulative across the organ or across the  
9 organism.

10 And I think it is based and I wanted to  
11 say something along the lines of there's an elephant  
12 in the room, okay, that nobody has actually raised,  
13 which is that we have a linear no threshold radiation  
14 protection policy that has -- or was established many  
15 decades ago consistent with ALARA, but in the last 20  
16 years there's been a scientific argument for linear no  
17 threshold based on biophysical considerations of  
18 energy distribution, targets, DNA and the ocogene  
19 driven model of cancer.

20 And that's where we see this disconnect,  
21 now between the biology of targeted effects versus  
22 non-targeted effects. Using the biophysical model of  
23 cancer risk and what I have a hard time with is we  
24 have policy and we have models, you know, and then we  
25 have scientific rationales or support for those models

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and they go back and forth and back and forth and you  
2 know, you lose track of which one you're talking about  
3 when we talk about LNT.

4 So let's just say there's the policy,  
5 there's linear threshold biophysical modeling and its  
6 application then back to policy. But that is exactly  
7 what you're talking about. It's a cumulative because  
8 there's a biophysical event. There's a persistent of  
9 that event and all I was -- one of the contributions  
10 of the DOE low dose program in getting people to work  
11 at the very low doses and looking at non-targeted  
12 effects is there's another component, another mode of  
13 action beyond the biophysical which is -- are these  
14 non-target attacks, these signaling cascades,  
15 interactions between cells that can both suppress and  
16 promote complicated biology that needs to be worked  
17 out. But that's the part that we don't take into  
18 account and I would say if it was me, I wouldn't worry  
19 about it.

20 But that's my risk assessment, right, my  
21 personal risk assessment, not yours.

22 MEMBER WEINER: Thank you. That's very --  
23 that clarifies it a great deal. To answer Dr. Le  
24 Guen's comment, background is something that is  
25 experienced on a continuous basis. I'm talking about

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 discrete events. And my question is really and you've  
2 answered it in part, Dr. Barcellos-Hoff. My question  
3 is really do those discrete events have a -- does the  
4 damage or punitive damage or benefit done by one  
5 discrete event, is that accumulated in the next  
6 discrete event?

7 DR. LE GUEN: You remember this morning I  
8 told you that this is not the physical event that is  
9 important but the outcome, the consequence and due to  
10 natural background but also a lot of stress because  
11 you are talking about transport which we can leave  
12 closed to the reader and we have a chemical agent. We  
13 eat a lot of -- a lot of chemical product and so on  
14 and we live in the stress.

15 And if we have planned a good mechanism in  
16 your cells we have some trouble. And, of course,  
17 that's why it's not, for us even this is modern, but  
18 our reactor cells and particularly not the cells, the  
19 tissue in the body. And so a dose is always a dose.  
20 If a dose is very small and close to the natural  
21 background, if we -- it's not possible to make a  
22 difference between a very small dose due to  
23 transportation with the natural background. That's  
24 not possible and it was one of the comments of Thomas  
25 Tenforde this morning to say how it's possible to make

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 a difference between the natural background and the  
2 very small dose rate with an experiment. It's not so  
3 easy.

4 DR. TENFORDE: Let me address Ruth's  
5 comment. First of all, 10 micro-sieverts is defined  
6 by NCRP and it's agreed upon almost worldwide that  
7 that is a negligible individual dose. Now, that  
8 doesn't mean if you get a lot of repeated exposures to  
9 10 micro-sieverts, let's say you have a truck driving  
10 by every minute or something, that you wouldn't see  
11 some cumulative effect.

12 However, we do know that the critical  
13 issue is distribution of dose over time. And there's  
14 a vast literature on animal carcinogenesis, for  
15 example, and Bob Ulrich's many elegant studies and  
16 others that show either dose protraction or dose  
17 fractionation creates lesser outcome in the long run  
18 than single acute exposure. So there are recovery  
19 processes going on and to estimate the extent of the  
20 recovery processes, you really need to have a clear  
21 understanding of the distribution of dose over time  
22 and so you know, in a random situation, it's very  
23 difficult to achieve that.

24 And that's why in EA's and EIS's as Dr.  
25 Mossman said, quite often the starting point is the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 worst case analysis where you take the maximum  
2 possible dose even if it's protracted over time or a  
3 fractionated exposure, and use that as a basis of  
4 estimate of risk and I mean, that's the nature of an  
5 EIS or an Environmental Assessment is you want to know  
6 what could happen in the worst case typically, but  
7 that isn't the proper scientific approach to take.

8           You really need to understand distribution  
9 of dose over time and in your situation if this person  
10 was exposed let's say once a day to 10 micro-sieverts,  
11 I'd say, well, they got a negligible individual dose  
12 every day, you know.

13           MEMBER WEINER: That answers the question.

14           One very quick one, and that is we mentioned --  
15 epidemiology was mentioned in many cases but there are  
16 a number of uncertainties in epidemiology and it's  
17 very uncertain and I wonder, Dr. Land, if you have  
18 looked at the distribution of epidemiological fact  
19 parameters.

20           DR. LAND: That's my job. That's what I  
21 do.

22           MEMBER WEINER: That's great.

23           CHAIRMAN RYAN: So the answer is yes.

24           MEMBER WEINER: The answer is yes. Do you  
25 think it's adequately considered the -- in drawing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 conclusions from epidemiological studies about the  
2 effects of ionizing radiation? Do you think that the  
3 uncertainties are adequately included?

4 DR. LAND: The ones you can deal with,  
5 yeah, the ones you know about, you can -- if you don't  
6 have any measurements, then you can't do it then.

7 CHAIRMAN RYAN: Jim?

8 MEMBER CLARKE: Thank you. Let me join my  
9 colleagues in saying I think this is a wonderful day  
10 so far as well and thank all of you for some very  
11 interesting presentations. I have kind of a basic  
12 question but I need to give you a little background  
13 and frame it a little better.

14 If we start out with -- by the way, I come  
15 from the chemical side. I'm a risk analysis person,  
16 slowly gaining an appreciation for dose and was  
17 engaged for many years in the conduct of investigating  
18 and so-called remediation of contaminated sites  
19 beginning with chemicals and moving into chemicals and  
20 radionuclides and have some familiarity with the  
21 process that the EPA uses to do risk assessment as  
22 embodied in the Superfund guidance.

23 And if we start with -- Dr. Mossman had a  
24 nice slide early on of the dose response curve and  
25 showing that at high doses all the different

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 extrapolation approaches pretty much come together. I  
2 remember a similar chart for DDT where many of the  
3 models that you could use really converged at the high  
4 doses but as you went down to the low doses, they  
5 started to diverge.

6 And you know, that divergence on the  
7 chemical side, this case up before, can be  
8 considerable. I mean, it's many orders of magnitude.

9 I guess we could force them all to come back together  
10 again and look at them as linear, very low doses, but  
11 we find, at least for those kinds of analyses or if  
12 you wanted to use that process say to estimate a so-  
13 called maximum contaminate level for the chemical in  
14 drinking water, you could essentially do that same  
15 thing, pick an exposure scenario, get a slope factor,  
16 risk coefficient and calculate a number.

17 But I think we find that we have to  
18 operate at least for those objectives in that area  
19 where there's just a great deal of uncertainty. So  
20 the question arises to me is, is there -- and by the  
21 way, the EPA removes the mystery by telling us what  
22 model they've used and give -- and they give us the  
23 slope factors so the calculation is actually pretty  
24 straightforward. You just calculate what's called a  
25 chemical intake through an exposure scenario and then

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 you multiply it by a slope factor and you get a risk.

2 Also it strikes me that every time we do  
3 that, we get into trouble, so that I'm gaining an  
4 appreciation for more of a semi-quantitative approach  
5 to risk analysis which I think is coming out of the  
6 merits of using collective dose, if you're going to  
7 use collective dose at all, more of a relative kind of  
8 assessment.

9 But I guess my question is around this  
10 area of great uncertainty where we find we have to  
11 operate and I'm wondering given the cellular work that  
12 Mary Helen described and some of the other studies, is  
13 the work that's coming out of the laboratory  
14 investigations at that scale, is that going to  
15 position us to better select one model we might use  
16 for -- on the chemical side it would be for a certain  
17 class of chemicals, I guess.

18 In other words, is that going to help us  
19 with this ultimately? And I didn't mean to --

20 DR. BARCELLOS-HOFF: That's an interesting  
21 question. Now, but I guess it depends on how much the  
22 regulatory policy is set on the science and what the  
23 scientific community considers the weight of evidence.

24 I think there is one -- in my view, one community of  
25 scientists who value really the observational data

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that you can get from epidemiology as being the  
2 evidence of what will happen in humans.

3 In the biological studies, the  
4 experimental research, you always have the question of  
5 expectation either to dose rates or across species or  
6 across organs. And that is a complicated question. I  
7 think where the science, the basic research comes to  
8 bear is in asking -- is coming down to this question  
9 of what does the science support in terms of if you  
10 have alternate models, can you provide a biological  
11 rationale to LNT?

12 MEMBER CLARKE: That's my question.

13 DR. BARCELLOS-HOFF: We can certainly  
14 provide a biophysical rationale for LNT but can you --  
15 is there sufficient biological evidence to support LNT  
16 at very low doses and I think that's where the whole  
17 field is looking.

18 MEMBER CLARKE: I guess I'm going a little  
19 beyond that because I'm going into a region where you  
20 might have multi -- single hit, multi-hit, all these  
21 different models and saying you're operating in that  
22 region and you want to -- you just want to say, well,  
23 I'm going to pick a model, you know, I'm going to  
24 calculate a risk, you know, what's the best way to do  
25 that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I guess if I had my druthers, I wouldn't  
2 do that, you know.

3 DR. MOSSMAN: To me the Karl Popper  
4 philosophy becomes very important and the reason why I  
5 say that is what we try to do with the science is to  
6 discredit competing theories. So really what we're  
7 doing is collecting data that hopefully will allow us  
8 to say that there's -- that what we want to say is  
9 that there is no threshold or that there is a  
10 threshold with a high degree of confidence.

11 If we can make statements like that, if we  
12 can make statements like yes, the dose response at  
13 very low doses is linear or it's curval linear, then  
14 we can begin to make rational decisions about whether  
15 certain candidate theories are scientifically  
16 defensible or not. I am not so sure that we're ever  
17 going to come to that. I don't think we're ever going  
18 to come to the situation where we're going to have  
19 rigorous scientific data that's going to allow us to  
20 exclude certain candidate theories in favor of other  
21 ones. Therefore, I think science is very important to  
22 establish -- to defend particular theories but the  
23 decision to use one theory or another would be an  
24 economic, political and social determination. And  
25 what's key is, is that whatever economic, social and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 political determinations you make. It has to be based  
2 on scientific defensible information which we have,  
3 frankly, for all the theories.

4 I mean, we can -- there are people out  
5 there who can point to data that says, yes, Hormesus  
6 (phonetic) is right. We've got lots of data to  
7 support that. Same thing with threshold, same thing  
8 with curval linear, same thing with LNT. And of  
9 course, what the Bureau 7 report says is the  
10 preponderance of the evidence, an interesting rule for  
11 making decisions, but the preponderance of the  
12 evidence is in support of LNT.

13 Okay, that's fair enough. That's their --  
14 that was their determination. So I'm not very  
15 convinced that the science will ever come to the point  
16 where we're going to be able to disqualify theories.

17 MEMBER CLARKE: Let me respond to that. I  
18 appreciate that and again, just to put my question  
19 into perspective, we are using a process that  
20 estimates risk and we are using that process to  
21 evaluate the current state of the contaminated site  
22 and we are using that process to evaluate certain  
23 alternative approaches through remediation technology  
24 and remediation strategy and we are spending billions  
25 of dollars with this process.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           So my question simply is there -- if we  
2 have to operate in these regions, we have to do these  
3 calculations, and again, I'm much more comfortable  
4 with risk when I'm using it on a more relative semi-  
5 quantitative comparative basis, but if we have to  
6 operate within a certain risk range, which the CIRCA  
7 (phonetic) regulations specify, and if we have to use  
8 this tool to make these decisions, is the work that is  
9 being done at the -- and I believe the EPA is doing  
10 the same thing for chemical carcinogenesis, they're  
11 looking at in vitro and cellular. They're looking at  
12 everything they can. Also a lot of the data that we  
13 use for chemicals came from very high human exposures  
14 as well, for example, arsenic, and we have the same  
15 extrapolation problem.

16           So is this helping us get to that area  
17 that we have to operate in, I guess is my question and  
18 I probably answered it.

19           DR. MOSSMAN: Well, I mean, the way I see  
20 this thing going and I'm probably wrong but I'll say  
21 it anyways, is that someone or some group of people  
22 will say this is costing us too much money. Is there  
23 another way that we can manage risk using a  
24 scientifically defensible underlying theory that will  
25 cost us less money and still protect the public health

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 and the environment?

2 CHAIRMAN RYAN: Ken, one element of that  
3 is back to this idea of bounding case.

4 DR. MOSSMAN: Is what?

5 CHAIRMAN RYAN: Bounding case. Bounding  
6 case is an admitted overestimate of risk.

7 DR. MOSSMAN: Well, LNT in some ways is  
8 that --

9 CHAIRMAN RYAN: Well, leave that aside for  
10 the moment.

11 DR. MOSSMAN: Okay.

12 CHAIRMAN RYAN: As John Garrick, who was  
13 my predecessor in this chair would say, "You can mask  
14 risk by using bounding analysis". Actually, you don't  
15 know what it is because you haven't done a credible  
16 job of trying to assess it. Now, sorry, Jim?

17 MEMBER CLARKE: I'm sorry.

18 CHAIRMAN RYAN: So if -- you know, if you  
19 think about the way we reach those decision tools,  
20 particularly if we use bounding analysis so use this,  
21 well, we assume, you know, all sorts of goofy  
22 assumptions, for example, low level waste. You know,  
23 you have to have a farmer who lives on top of a waste  
24 site and he has to grow his food in exhumed waste,  
25 which I challenge anybody, show me how that can be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 done.

2 But you know, we do it anyway and then we  
3 come up with a dose calculation and say that's -- you  
4 know, that which we do on concentrations. Is it safe  
5 or is it bounding? Well, you know, I guess so but  
6 does it really tell you what the risk is from disposal  
7 of the waste, no. So I struggle a little bit with you  
8 know, this idea of you know, the premise for some of  
9 the decision making are these sorts of bounding  
10 analysis that really don't tell you what the risk is.

11 It's a convenient way to calculate stuff and say,  
12 well if we're there we're okay. It has nothing to do  
13 with risk. Nothing.

14 That's my point is that if you use some of  
15 these extreme cases, you don't learn anything about  
16 the risk. You just have made a decision based on an  
17 absolute. So that's kind of a strategy for how to  
18 assess risk I wish we would get away from.

19 DR. BARCELLOS-HOFF: I just wanted to  
20 raise that in terms of strategies for managing risk, I  
21 also work in -- for NASA's program for space radiation  
22 exposures where, of course, you're never going to have  
23 a population in our lifetimes or next couple lifetimes  
24 to actually evaluate risk of sending people into space  
25 and you have a very complex space radiation exposure

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 on top of your biology.

2 CHAIRMAN RYAN: All the quality factors  
3 are well worked out, I'm sure, yeah.

4 DR. BARCELLOS-HOFF: An RV is a lovely  
5 concept. And their strategy has been to try to  
6 attempt, and I think attempt is about where we are, a  
7 molecular mechanistic based model of cancer risk.  
8 Now, what does that mean? It essentially at one level  
9 says identifying every single step and the possible  
10 interactions in this hugely complicated human body  
11 which consists of  $10^{14}$  cells. And so you say, well,  
12 that will keep us busy longer than getting to Mars,  
13 right? But there is some element of reality there and  
14 because what it says is, what you need to know are  
15 going again to systems biology is the critical cuts,  
16 the really -- and we've been working under that  
17 paradigm for many years thinking that the critical  
18 nature was a genetic sequence. And you know, putting  
19 -- and you know, that that was it and that we could  
20 extrapolate everything from changes in the genetic  
21 sequence. And now, we're trying to incorporate more  
22 of this and I think there will be this better defined  
23 process of what it takes to become a cancer.

24 And maybe that's something that will  
25 eventually used but again, I have no real appreciation

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 of what you actually do. So -- but I think from the  
2 biology side, that's the goal.

3 CHAIRMAN RYAN: With that, we're kind of  
4 at the hour where we need to take a 15-minute break.  
5 We have some other stakeholders as I mentioned this  
6 morning, that have asked for time to participate and  
7 so we'll start promptly at 3:15 with our two  
8 requesters starting first with Dr. Ted Rockwell I see  
9 here in the audience, and Ted if you want to go up and  
10 get yourself set up that will be fine. And also, Mr.  
11 Lynn Ehrle, are you still with us on the phone, sir?

12 MR. EHRLE: Yes, sir.

13 CHAIRMAN RYAN: Okay, well, thank you for  
14 being with us. And just for the record, would you  
15 tell us who you are at the microphone? And we've got  
16 a third request.

17 DR. COCHRAN: I'm Tom Cochran with the  
18 Natural Resources Defense Council and I would like to  
19 speak as well.

20 CHAIRMAN RYAN: Dr. Cochran also has some  
21 time to speak after the break. So we'll reconvene  
22 promptly at 3:15.

23 (A brief recess was taken.)

24 CHAIRMAN RYAN: Could I ask everybody to  
25 take their seats please, and reconvene. Come to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 order, please. Dr. Rockwell.

2 DR. ROCKWELL: Mike, I have to  
3 congratulate you on a tight ship you're running.

4 CHAIRMAN RYAN: Well, you know, we've got  
5 a lot of speakers and a lot of views, Dr. Rockwell,  
6 and we certainly want to have appropriate time for our  
7 stakeholder comments this afternoon. And without  
8 further ado, right on the appointed hour, if you'd  
9 take it away, Dr. Rockwell, you have about 15 minutes.

10 DR. ROCKWELL: Thank you. Well, I've been  
11 in the nuclear business for 64 years now from when I  
12 was in Oak Ridge during the Manhattan Project and the  
13 explaining the thing is very complicated and we always  
14 get tripped up. Every item you want to talk about  
15 turns out you can't talk about that one until you've  
16 talked about the other one first kind of thing.

17 My objective in putting the material into  
18 the record is a small one and maybe a bigger one will  
19 follow with that but the smaller one is that we in the  
20 nuclear community, authoritative people in the nuclear  
21 community, are saying opposite things day after day.  
22 We're telling them over and over again there is no  
23 such thing as a safe dose of radiation and the other  
24 day the Chairman said in a big public meeting, the  
25 public needs to understand that here is such a thing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 as a safe exposure. You know, and it goes on.

2 We're completely repeatedly told that  
3 collective dose can't be used and yet, as you've  
4 heard, we have procedures in which the Government is  
5 requiring people to use collective dose to make  
6 evaluations. So I would like to see if I could  
7 contribute a little bit to resolving that. I find  
8 that there's a lot of information out there that  
9 people don't really want to hear and it's amazing how  
10 fast they can forget data. And when you put a number  
11 of these things together, one after another on a piece  
12 of paper, it's really quite a shocker and that's one  
13 of the things that I've tried to do.

14 So what I've put into your record here  
15 with the little memory stick and it's on the web so  
16 anybody can get it if they click this thing. They can  
17 get the whole package of stuff we have here.

18 CHAIRMAN RYAN: Now, this is your packet,  
19 I believe.

20 DR. ROCKWELL: Yeah.

21 CHAIRMAN RYAN: And we've made copies  
22 available in the back of the room for other  
23 participants as well.

24 DR. ROCKWELL: Yes, that's right.

25 CHAIRMAN RYAN: Okay, very good.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. ROCKWELL: There are two things here.  
2 One is this info paper that I've just mentioned and I  
3 threw in at the last moment in response to the idea  
4 that gee, there really isn't any good low dose  
5 information and therefore, we have to make a lot of  
6 assumptions we wouldn't have to make otherwise. And  
7 that simply is not true, that there's no good  
8 radiation -- low dose radiation information. And so  
9 what I did just hurriedly is show you that -- mine is  
10 in color because this is the original one but since  
11 I'm paying for this out of my own pocket, the black  
12 and white -- you're getting black and white copies of  
13 it.

14 But this is an outline of the material in  
15 the Radiation Science and Health website. This is  
16 data, scientific data, at low dose that refutes the  
17 LNT that shows that low dose radiation is not harmful  
18 and is, in fact, beneficial in most cases, Just as is  
19 stated in NCRP 136, it is important to remember that  
20 most populations exposed to low dose radiation are not  
21 harmed and as a matter of fact, most are benefitted.  
22 That should have been the bottom line. They should  
23 have said, that's the question you asked me and here's  
24 the answer.

25 But they come to the opposite conclusion

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 in the report, as you know. But this thing is five  
2 pages of outline and after each line in the outline,  
3 and this is eight point typed single spaced and we've  
4 got five pages of it here, just of the outline. And  
5 after each line in the outline is how many reports.  
6 There are 29 on this line, there are 106 reports on  
7 that line and so forth.

8 This is just to show and if you want to  
9 see how substantive those papers are and how  
10 legitimate they are, go to the website because there  
11 it is, but the basic document here is in three pieces.

12 It's a one page that says what it is and that's  
13 what's on the website that you start clicking on to  
14 get the rest of it. And what -- on the printed copy  
15 we give it to you, it's a one-sheeter. And then  
16 there's a four-page executive summary that goes  
17 through the arguments and doesn't have two many links  
18 on it and then we have the scientific attachment which  
19 is 26 pages showing some actual stuff.

20 Now, even this 26 page thing does not have  
21 any figures and doesn't have very many pieces of  
22 actual data but what it does have is some links and  
23 citations to reports that are really solid and those,  
24 in turn, have a lot of citations of their own. So  
25 this is the information on which decisions can be made

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 and pulling in a lot of stuff that hasn't been used  
2 before and which should be. Now if these reports are  
3 legit, they ought to be used. If they are not  
4 convincing, then they should be repudiated, but they  
5 are ignored. They just don't get into the reports.

6 So that's what's the package in there that  
7 you can use. Now, the -- there's a couple of points I  
8 want to make and that is that in addition to the fact  
9 that this good data that is not being used, there is  
10 bad data that is being leaned on very heavily.  
11 There's some really terrible reports that are cited  
12 over and over again in favor of preserving the LNT.  
13 And some of them have just very basic scientific flaws  
14 in them. The work of Cartiss, et al, for instance on  
15 those things that -- did some terrible stuff of data  
16 selection. There were seven little data bins and  
17 three of them were -- showed some damage, net damage  
18 and four of them showed benefit. So she never  
19 mentions the four that showed benefit, just quoted the  
20 others which was 70 percent of the data. She ignores  
21 70 percent of the data. So she ends up with only 30  
22 cancers out of the whole thing. That's not enough to  
23 get good statistics.

24 So she builds a computer model of 500  
25 cases to represent the 30 and then goes for there.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 And on top of it all at the beginning, she says, that  
2 since there's no reason to believe that radiation  
3 could be beneficial any radiation effect will assume  
4 it's damaging when used just one-sided -- one-tailed  
5 curves. Really bad stuff.

6 So let me tell you about what I think is  
7 some of the myths of this game that ought to be  
8 examined and fixed. One is that there is a debate  
9 going on between people who favor the LNT and people  
10 who don't. There is no such debate. I don't know  
11 anybody that will stand up and defend scientifically  
12 the basis for the LNT. There are people who say that  
13 although there isn't good data to support it,  
14 nonetheless, it's the best we have and it's prudent to  
15 assume and so forth and so on.

16 I've been trying to get a debate between  
17 the pro and the non-LNT people. We tried to get --  
18 when Charlie Meinhold was Chairman of the NCRB, tried  
19 to get him to chair a debate and lead a debate of  
20 people, we could pick on either side and here's some  
21 of the scientific efforts. And you know, he wouldn't  
22 do it. He wouldn't get involved. He says, "Gee,  
23 we're in the middle on the thing," he says.

24 On one side you have people like  
25 Sternglass and Radford and who was the third one, oh,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Coldecott (phonetic) and on the other side you have  
2 Cohen and Polycove, who was the other one, Cohen,  
3 Polycove and -- the idea that -- and he says, "We're  
4 right in the middle so we're not in a position to do a  
5 debate. You know, we must be doing something right  
6 because we're right in the middle".

7           So I have not seen, and I would like to  
8 see a good open discussion of the scientific story as  
9 to where we are on the thing. Now, I've heard a lot  
10 today about the fact that there's more than science  
11 involved but Mike opened the meeting with a very  
12 important statement. He says, "We don't make policy  
13 here, we're here to talk about science". And I think  
14 it's important that we act on that and the policy  
15 people will decide what they're going to do with the  
16 science.

17           But if we can't give them a straight story  
18 from the science, how can we expect them to do their  
19 job. So I think it's misleading, I think it's dodging  
20 the issue if we pin too much on the fact that there  
21 are factors other than science involved here. It  
22 seems to me, if I understood Mike and I certainly  
23 agree with him, that our job is to talk about what is  
24 the best scientific story and right now, as I say,  
25 we're talking out of both sides of our mouth and we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 can't blame that on the press and we can't blame it on  
2 the anti-nukes, we can't blame it on Tom Cochran. He  
3 didn't invent the China Syndrome and he didn't put out  
4 reports telling people that we're killing people every  
5 day at normal radiation levels. When what's his name,  
6 the guy from New Mexico was -- Bill Richardson, when  
7 he was head of the Department of Energy, he put out  
8 this report, calculations showing they're going to  
9 kill so many people, 250 people, whatever it was, in  
10 the plants and 98 percent of this will fall within the  
11 tolerable limits. I don't know how in the world  
12 anybody would ever calculate that, you know, it's an  
13 impossible thing to say, but then the DOE proceeds to  
14 run out and send people to all the old people's homes,  
15 retirement homes and things like that and tell them,  
16 "Don't you feel sick, you know, you were a visitor or  
17 a participant in one of the bomb tests", and so forth.

18           So we're really -- we have created this  
19 problem, we in the nuclear industry have created this  
20 problem all by ourselves. The scientists and the  
21 contractors and everybody else, we've created this  
22 fearful thing. We're going to have to build a 323-  
23 mile highway for a billion bucks so that we don't send  
24 Ruth's trucks be the churches and schools. If they  
25 sent them by churches on weekdays, I suppose it would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 all right but you know, we've created this thing and  
2 so I think it's really important that we clarify that  
3 if it is not true, that there is no such thing as a  
4 safe dose, then we ought to quit saying that and we  
5 ought to tell people that that's what it is. And I've  
6 heard the argument that says that we should, you know,  
7 not look as if we're trying to downplay the danger,  
8 that if we say something like that, we'll be  
9 considered that we're speaking in our own behalf.

10 Why shouldn't we? Who else is going to do  
11 it for Pete's sake? So this is a document, I hope  
12 you'll look at. I hope you'll look at the radiation  
13 science and health thing here. There are hundreds of  
14 good reports here and I was told that what I should do  
15 is get the facts out and let people draw their  
16 conclusions on the thing, but I've got a bunch of  
17 letters in here quoting from different people with  
18 bitter complaints that they have sent data in, whether  
19 it's NCRP or whether it's DEIR, I've done it myself,  
20 testified, gave them the data and it's never  
21 mentioned, never mentioned.

22 You say these are flaws in the draft that  
23 you sent around and they send the thing, and they're  
24 still there. And that's not a narrow group of people.  
25 That's the thing. So that I think that we've got the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 power and in an advisory committee like this, you are  
2 freed from any obligation to have to implement these  
3 policies, so you're set up this way solely with the  
4 idea so you can speak truth to power. That's your  
5 job. You don't have to live with it.

6 You know, you don't have to live with it,  
7 but you ought to tell them what you think honestly the  
8 science says and if they have some trouble dealing  
9 with that, they'll have to take that responsibility  
10 but they won't be able to say, "Gee, my advisory  
11 committee told me this was what the science said".  
12 That's my time, I think.

13 CHAIRMAN RYAN: Thank you very much for  
14 your comments. Just for everybody's benefit, Dr.  
15 Rockwell's material will be part of our written record  
16 and your comments today a part of the transcript for  
17 this meeting. So it will be part of the record.

18 DR. ROCKWELL: Thank you very much.

19 CHAIRMAN RYAN: Thank you very much.  
20 Next, I believe we have Mr. Lynn Ehrle on the phone.

21 MR. EHRLE: Yes.

22 CHAIRMAN RYAN: Mr. Ehrle, the floor is  
23 yours and I think we can hear you quite well. We have  
24 a very good speaker phone here. So you have the next  
25 15 minutes, sir.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. EHRLE: Thank you. Lynn Howard Ehrle,  
2 I'm a retired consumer economics and social studies  
3 teacher who happens to have been studying radiation  
4 effects at low dose for the past 40 years. I became  
5 interested in this field initially because I began to  
6 be concerned about the whole issue of nuclear power  
7 and shortly thereafter, I was a founding member and  
8 was the Vice President of Consumer Alliance of  
9 Michigan for a 10-year period during the `70s.

10 Did all of their testimony in the Public  
11 Service Commission and was even nominated twice for a  
12 post but unfortunately the Governor didn't want to  
13 have a consumer advocate setting utility rates so that  
14 was that. The -- there's several concepts that I am  
15 curious to see if we can get our hands around. A  
16 statement was made by one of the panelists that  
17 there's an elephant in the room. Unfortunately, you  
18 haven't even tweaked its trunk. There are issues that  
19 will not be discussed by neither the Commission nor  
20 NCRP nor the ICRP. Those organizations are basically  
21 closed unions.

22 They're self-appointed, self-perpetuating,  
23 and there's no way that all stakeholders can get a  
24 foothold in those organizations. And it's very  
25 simple. A statement was made by Dr. Le Guen who

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 indicated that science and politics should remain or  
2 be separate. My observation is, is studying the  
3 sociology of the issue, science since Hiroshima and  
4 Nagasaki, has been inextricably interwoven with  
5 politics.

6 Classic example, the Atomic Energy Act of  
7 1946 locked up radiation research. In fact, it stayed  
8 locked up all through the Cold War, under its  
9 restrictive data label, RD, and in the Act, it, of  
10 course, was interpreted to mean that all radiation  
11 research relative to weapons was borne secret. In  
12 fact, the book "Atomic Audit", done by Brookings  
13 Institution that estimated \$5.8 trillion has been  
14 spent on nuclear weapons and the system between 1940  
15 and 1996. The Department of Energy, they stated, had  
16 at least 280 million pages under lock and key.

17 And so you can see the enormity of the  
18 problem for those of us who had a concern about risk  
19 as it related to the exposures from nuclear power,  
20 from the embryonic nuclear power plants that were  
21 coming on line. By the way, for several months I  
22 tried to search out studies dealing with shoe fitter  
23 salesmen. You know, there isn't a study around.  
24 Well, I love to stand under that periscope and see my  
25 toes wiggle. And one day about 1952 they took them

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 out and I asked the salesman where did they go. He  
2 said, "I don't know, they just came and took them  
3 out". I said, "Why"? He said, "Well, we were never  
4 told". Well, obviously, those salesmen are all dead  
5 because those were low doses over time, protracted and  
6 scatter gun fluoroscope. So we can look at events.

7 For a classic example, what is it that was  
8 kept under the rug after Hiroshima? Indeed, it was  
9 not until 1950 that the American Bomb Casualty  
10 Commission began to do its work. And so there was a  
11 long period where Japanese physicians were told to  
12 report their findings on health effects to the agency  
13 that was coordinating their efforts with the Army.  
14 And indeed, that whole process, that super secret  
15 process, was set in motion by Leslie Groves,  
16 compartmentalized so that nobody could know what the  
17 other hand was doing. And that had serious  
18 consequences scientifically as you might well imagine.

19 And so as the situation developed from the  
20 Atomic Energy Act, we began to see that some of the  
21 scientists were treated as Pyrrhus. They were made --  
22 subjected to scientific shunning, as it were. They  
23 were closed out because they were too independent,  
24 because they may challenge the conventional wisdom and  
25 indeed they tried to but they could never get a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 hearing.

2 Take the case of John Gofman, Gofman was a  
3 brilliant scientist. He is my mentor. Over a 12-year  
4 period I conversed with him frequently. He sent me  
5 all five of his radiation books. The first one  
6 "Radiation and Human Health", over 900 pages, a  
7 brilliant book, but as one doctor said in complaining  
8 about it, "Well, that was published by the Sierra  
9 Club", as that somehow case a pall over the science.  
10 It really is even now very current in terms of what  
11 was presented.

12 And yet as the Atomic Energy Commission  
13 gave Gofman a grant, Associate Director of Lawrence  
14 Livermore. Well, before that, he had distinguished  
15 himself as a cardiologist. I've interviewed several  
16 cardiologists. They don't even know Gofman's name.  
17 He wrote the book. In 1974 he was designated as one  
18 of the top 25 cardiologists of the past quarter  
19 century by the American College of Cardiology.

20 And as far as radiation effects, he could  
21 run circles around some of these people that  
22 pontificate about the fact that there's no low dose  
23 data. It's ridiculous. It's all over the place.  
24 When Klausner was head of NCI, he spoke out in 1996, I  
25 recall at Nancy Pelosi's town hall meeting in San

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Francisco and he said, "We don't have any data on low  
2 dose". I sent him a list of 71 low dose studies that  
3 were all peer reviewed and never got a response.  
4 There's plenty of evidence. I'm looking at John  
5 Gofman's book right now, "Radiation Induced Cancer  
6 from Low Dose Exposure". Two top flight medical  
7 physicists reviewed his book along side Beard 5  
8 (phonetic) and concluded that persons concerned about  
9 radiation risk should read both of these excellent  
10 studies.

11 And it seems as though Gofman had already  
12 established himself as an anti-nuclear advocate and so  
13 his studies were uniformly dismissed and so you wonder  
14 why I have a tone of anger in my voice. When you see  
15 people like Albert Einstein that was trailed, read the  
16 "Einstein File", a brilliant book that summarizes what  
17 the FBI did in copious detail to hound him and cause  
18 him and other scientists to be on the defensive and  
19 the same thing happened to others as well.

20 And so they either caused them -- well,  
21 take the case of Heuper. Here was a man, who in 1948  
22 became the first director of the Environmental Cancer  
23 Section of NCI. They put a collar on him because he  
24 worked at Dupont. They sent his studies to Dupont for  
25 them to review. If you haven't heard some ridiculous

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 stuff there, read it in the book "Cancer Wars", by  
2 Proctor, who goes through the case of Heuper. When he  
3 retired in '64, the NCI disbanded his project and  
4 shipped his large library, broke it up and sent it  
5 elsewhere. And so that was the treatment that people  
6 who dared to challenge the conventional wisdom would  
7 get. So you can see why I make the conclusion that  
8 one of the impediments to low dose radiation and  
9 effective science is because the people have come up  
10 with new science.

11 For example, here's a classic one for you,  
12 the Health Physics Society, Ken Mossman former  
13 President, they came up with a report, and I'm looking  
14 at it right now that said below 5 to 10 rem that "risk  
15 of health effects are either too small to be observed  
16 or are non-existent." Well, I should refer you to the  
17 TNAS paper. Brenner was the lead author, 15 top  
18 flight cancer experts were on that study and they  
19 concluded that there was risk, good epidemiological  
20 evidence, that low dose risk from 10 to 150 milli-  
21 sievert and protracted dose of 50 to 100 milli-  
22 sievert.

23 Well, that certainly goes against what Mr.  
24 Mossman has said in the past relative to statements  
25 that he has made that -- in fact, one of the articles

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that I had from -- that he had written related to a  
2 statement that he said that these doses of -- at those  
3 levels are diminimus. So here we have people who  
4 supposedly are experts in the field and yet you go to  
5 either ICRP or NCRP and none of the people that I'm  
6 dealing with and right now, I'm -- for the past two  
7 years was appointed Senior Biomedical Policy Analyst  
8 for the Organic Consumers Association that basically  
9 is trying to keep food safe and I worked with the  
10 director in the early '90s to try and keep Monsanto  
11 from putting rBGH in the food but unsuccessfully and  
12 so he appointed me to this post because he wanted to  
13 see this project that I put in front of him, the  
14 establishment of an international science oversight  
15 board. We don't have a dime, that's the problem with  
16 all the non-profits. They don't have time to travel  
17 to Washington. They don't have time to get involved  
18 in these conferences and they're certainly not going  
19 to get any grants from the NIH or the NCI to deal with  
20 these conflicts of interest that so bedevil our  
21 science today.

22 So here we have this huge problem and in  
23 Gofman's book, "The Radiation Effects of Low Dose", he  
24 points out the genetic risk factors and if you go back  
25 to H.J. Muller who, of course, only won the Nobel

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Prize for his fruit fly study, drosophila, the  
2 treatment he got at first, doctors walked out of his  
3 lectures. They didn't want to hear it. He was  
4 uniformly criticized, of course, until he won the  
5 Nobel and then was called the Father of Human  
6 Genetics. But in -- and that was 1946. In 1955, he  
7 went to give a talk at an international body and the  
8 Atomic Energy Commission -- he had just won the Kimber  
9 Genetics Award, the first one from the National  
10 Academy of Sciences and he, in that particular award,  
11 indicated that one of the accounts he pointed out the  
12 tremendous damage, autogenic (phonetic) damage, that  
13 is caused by radiation and then in the talk that he  
14 was about to give in '55 at the International  
15 Conference of Peaceful Uses of Atomic Energy, he was  
16 called up for this, sponsors of the meeting were  
17 called up and said, "Muller can't speak. He's not  
18 designated as a technical advisor by the Atomic Energy  
19 Commission".

20 Can you believe the treatment of a Nobel  
21 Laureate and a recipient of the Kimber Genetics Award  
22 being told that by any government agency? That shows  
23 the tremendous power that we're up against and now we  
24 have Chernobyl. And three of the members of my  
25 International Science Oversight Board, 16, by the way

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 out of the 41 are low dose experts, three of them from  
2 Russia, and if you go over, it's very interesting to  
3 note that the World Health Organization and the ICRP  
4 and the IEA have had the Russian studies in their  
5 files for years and have refused to translate them.  
6 There is a book that I reference in my study that I  
7 passed out there that apparently you must have in  
8 front of you. That book is called "Chernobyl 20 Years  
9 On". It can be viewed full text at [euradcom.org](http://euradcom.org).  
10 That is the European Committee on Radiation Risk.

11 The editors, Chris Busby, a UK physicist  
12 and Alexey Yablokov, a Russian biologist are on my  
13 oversight board. And they distinguish themselves by  
14 Yabolkov actually translated some of -- enough of  
15 these studies to compile something that nobody else  
16 has ever bothered with. As you know, the Beer studies  
17 deal with cancer mortality. This book has a whole  
18 long list of what is equally as dangerous and that is  
19 the non-cancer effects and they are all from low dose.

20 Of course, you look at -- with the  
21 exception of the liquidators, of course, that worked  
22 around the reactor and were subjected to very heavy  
23 doses, but the fall-out was basically low dose. And  
24 what is it that could cause low birth weight in many  
25 countries to spite, after Chernobyl? What other

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 event? You say we have to measure dose. Why do you  
2 have to measure dose? Look at the effects and then  
3 tell me what other events took place concurrently with  
4 Chernobyl that would cause a spike in low birth rate,  
5 which by the way is the single most important cause of  
6 infant mortality.

7 CHAIRMAN RYAN: Mr. Ehrle, excuse me.  
8 First, we do have your materials, but second, I'd like  
9 to ask you in the next couple of minutes to finish up.

10 MR. EHRLE: Okay.

11 CHAIRMAN RYAN: We do have another speaker  
12 that we want to include.

13 MR. EHRLE: Understand, and I appreciate  
14 the time.

15 CHAIRMAN RYAN: Thank you.

16 MR. EHRLE: The book that I mentioned on  
17 that website is one that everybody can read and should  
18 read if they're concerned about the non-cancer  
19 effects. As you might recall, and I have the three  
20 volumes of Unsteer 2000 (phonetic) that basic problem  
21 that they said with the survivors at Chernobyl is that  
22 they're suffering from psychosomatic problems.

23 Well, guess what, that's radiophobia.  
24 Isn't that something to us that are concerned about  
25 the radiation risk at low dose that by the way studies

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 now indicate are more dangerous in protracted doses  
2 over time than in a single acute dose, but you will  
3 not hear that discussed at the NCRP conference. You  
4 will not hear discussed the bystander effect or gnomonic  
5 instability to the effect of the Hsu study (phonetic)  
6 with Tom Hay at Columbia and others that I have right  
7 here that indicated that a single hit, a single track  
8 of radiation can actually, through a process of gap  
9 junction communication effect other cells at far  
10 distant site and they predicted that this would mean  
11 that we have to reorient our theory about the Japanese  
12 A-bomb study.

13 CHAIRMAN RYAN: Mr. Ehrle, I'm going to  
14 have to ask you to finish up.

15 MR. EHRLE: In fact, the obvious is that  
16 there is an excess risk. It's super linear at low  
17 dose and I thank you for the time.

18 CHAIRMAN RYAN: Thank you very much for  
19 your participation. Our next speaker is Dr. Thomas  
20 Cochran. Dr. Cochran?

21 DR. COCHRAN: Mr. Chairman, thank you for  
22 this opportunity. For those who don't know me, I'm  
23 Thomas Cochran. I'm retired as the Director of  
24 Nuclear Program at the Natural Resources Defense  
25 Council and I'm on the Senior Staff there. I was an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Atomic Energy Commission Health Physics Fellow in the  
2 `60s and have been a member of the Health Physics  
3 Society since `64.

4 I've several short items. First, the  
5 announcement says you plan to prepare a letter to the  
6 Commission. I wasn't here for your opening remarks.  
7 I don't know what that entails but I would caution you  
8 that this agency is not under Executive Branch  
9 guidance, not the agency responsible for setting  
10 general policy on radiation standards. That's the  
11 purview of the EPA so be careful what you ask for.

12 CHAIRMAN RYAN: We're -- our letters are  
13 consistent with our charter and we provide advice on  
14 the scientific aspects of what we hear. So we're not  
15 here to give policy advice. We made that very clear  
16 at the outset.

17 DR. COCHRAN: Okay, thank you. Secondly,  
18 this is just a plea on the use of the term "low dose"  
19 and "low dose rate". I'll pick on Dr. Le Guen because  
20 you quoted Collin's with reference to 94 milligrade  
21 per hour as a very low dose rate and in some quarters  
22 that might not be viewed as a very low dose rate. And  
23 I just think in these discussions the more one focuses  
24 on the numbers and not sort of use low dose to mean  
25 almost any dose depending on which exercise you're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 involved in the better.

2           Next, I think Allen mentioned, of course,  
3 all of these sources that are regulated by this agency  
4 are added to background radiation and therefore,  
5 really the interest is in the range of background  
6 radiation and somewhat above. And that I think a lot  
7 of these problems that people have about arguing what  
8 the meaning of collected dose and so forth would be  
9 lessened if people would -- now that we have computer  
10 models and they're easy to do these calculations would  
11 plot a cumulative risk, number of people at risk  
12 versus the risk. So it would be a cumulative plot and  
13 then people can make their cutoff and either do that  
14 as a dose, cumulative dose, versus dose or cumulative  
15 risk versus risk and then don't put yourself in the  
16 position of trying to be the arbiter of what the --  
17 whether there's a threshold or not and let people look  
18 at the data and judge what the individual risks or the  
19 collective risks are.

20           The -- another sort of plea is on  
21 discussing extrapolation, we're not -- this whole  
22 debate is not about extrapolating dose but it's about  
23 extrapolating overdose rates because if you look at,  
24 for example, the Oxford study, somewhere in the 1 to 5  
25 rem or I use the old terms 10 to 50 mSv, that's the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 dose one gets from natural background radiation over  
2 10 years, 15 years. So we're not extrapolating dose.

3 We're extrapolating dose rates, to ask the question  
4 of whether the risk is still the same or lower or  
5 higher at the lower dose rates.

6 Couple of minor points, Dr. Le Guen, in  
7 your slide, in your conclusion, you have a statement,  
8 "All data show lower effectiveness of low dose and  
9 dose rates". I would advise you to take that out. I  
10 think that's in error. All data don't show that.  
11 Some data show that. The -- there's another  
12 statement, I believe, of Dr. Mossman that I think is  
13 in error when he said dose limits don't have anything  
14 to do with risk. I know that you're implying but in  
15 fact, from the very beginning, dose limits were based  
16 to minimize the risk. In the early days they were  
17 based on radium exposures and the risk of radium  
18 exposure.

19 Just an observation in the discussion of  
20 effects at low dose, the concept of dose itself  
21 already averages vast differences in energy deposition  
22 across tissue and across organs and so forth. So this  
23 is just my personal view, it's hard for me to  
24 reconcile the concept of a threshold. I don't believe  
25 -- I personally believe the linear model -- the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 preponderance of data is that in a Beer 7 report  
2 supports the linear model and that's the best estimate  
3 today given all the uncertainties. And I have  
4 difficulty when I recognize that for a single hit of a  
5 gamma or even a high LET radiation, you get vastly  
6 different amounts of energy deposited in local areas  
7 depending on whether it's Compton scattering and what  
8 kind of Compton scattering or whether it's some other  
9 photoelectric absorption or whatever and when we talk  
10 about dose we average that over an entire organ. And  
11 so then turn around and talk about threshold as if  
12 there's a threshold in energy deposited below which  
13 there's no effect, it just doesn't make a lot of sense  
14 to me.

15           Lastly, I want to say just a word or two  
16 about collective dose because there was some  
17 discussion of that toward the end. I think the  
18 concept of collective dose is extremely important in  
19 some applications. If you're talking about  
20 individuals, a lot of individuals want to know their  
21 individual risks, either their average risk or what  
22 the maximum likely -- maximum possible risk is but if  
23 you're talking about weighing benefits and costs of a  
24 technology or process when proving safety, you've got  
25 to weigh all the benefits against all the costs. And

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 even that doesn't factor in the issue of justice.  
2 That implies that the same people are gaining the  
3 benefits as receiving the costs or risk. But you  
4 can't weigh the benefits and cost even if you don't  
5 sum up all of the costs. And only collective dose, if  
6 you accepted the linear model is the best estimate of  
7 the effects at low dose, given the uncertainties, then  
8 you've got to add in even those small risk to large  
9 populations.

10 And I would -- maybe some people would  
11 believe that this is -- should be repealed but I would  
12 point out that we do have, as in 40 CFR 190, I believe  
13 it is, standards set in this case for the amount of  
14 noble gases released from commercial reprocessing  
15 facilities that are based on a collective dose  
16 assessment of the dose to the -- all equal in the  
17 Northern Hemisphere from krypton-85 releases.

18 And I think that's valid. I was on a NRC  
19 Citizens Advisory Committee that was asked to give  
20 advice on whether to release the krypton-85 from the  
21 secondary containment in Three Mile Island and I said,  
22 it ought to be released but that's based on a  
23 collective dose assessment. So I do think it is  
24 important. It's certainly important for me and I  
25 would hate to see some other body or the Commission

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 tell me that it's misleading for me to see the  
2 collective dose. Put it out there and those of us who  
3 want to use it, will use it and if you don't want to  
4 use it, you don't have to use it. Thank you. I'll be  
5 happy to answer questions.

6 CHAIRMAN RYAN: No, I think thank you very  
7 much for your comments. We appreciate it.

8 DR. COCHRAN: And I don't want to be  
9 critical of what your -- I just -- there were a couple  
10 of things I disagreed with.

11 CHAIRMAN RYAN: Thank you. With that, we  
12 are at a point in our agenda for closing remarks. I  
13 guess my closing thought is that I think we've had a  
14 very rich discussion during the day from a wide  
15 variety of views and subjects and topics and I  
16 appreciate everybody's participation. I'd like to  
17 take the last minute or so and preview tomorrow.

18 We'll start with two presentations, first  
19 with Dr. Puskin from the EPA and Dr. Holahan from the  
20 NRC's Office of Nuclear Regulatory Research, with I  
21 believe the US EPA agency views and the NRC staff  
22 view. So we'll start with those presentations and  
23 again, starting up with. I'm sorry, the first  
24 presentation, we'll start just with opening comments  
25 and the opening statement at 8:30 and then of course,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Dr. Hammitt will be here from the Harvard School of  
2 Public Health to offer his views on the economic  
3 perspective and then we'll go into Dr. Puskin and Dr.  
4 Holahan. So that will take care of our morning, and  
5 then we'll have a similar panel discussion on those  
6 issues and bringing in any other thoughts we might  
7 want to share from today's discussion and again, we  
8 have an opportunity for stakeholder views. At this  
9 point, I don't know that we have anybody who has  
10 requested a slot in that time period but we'll  
11 certainly have that available if anybody would like to  
12 make additional comments in the same time period as we  
13 used today, and with that, we'll close the working  
14 group somewhere around 4:00 o'clock and then we'll be  
15 onto other business with the Committee. So thank you  
16 very much. Have a pleasant evening and we'll see you  
17 promptly at 8:30 tomorrow morning. Thank you very  
18 much and we'll close the record here for the day,  
19 thank you.

20 (Whereupon, at 4:05 p.m. the above-  
21 entitled matter recessed to reconvene at 8:30 a.m. on  
22 April 9, 2008.)  
23  
24  
25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701