

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
Grand Gulf Application Early Site Permit

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Monday, May 16, 2005

Work Order No.: NRC-373

Pages 1-179

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS (ACRS)

+ + + + +

AD HOC SUBCOMMITTEE ON EARLY SITE PERMIT

GRAND GULF APPLICATION

+ + + + +

MEETING

+ + + + +

MONDAY,

MAY 16, 2005

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Committee met at the Nuclear
Regulatory Commission, Two White Flint North, Room T-
2B3, 11545 Rockville Pike, at 8:30 a.m., Dana A.
Powers, Chairman, presiding.

COMMITTEE MEMBERS:

DANA A. POWERS, Chairman

MARIO V. BONACA, Member

THOMAS S. KRESS, Member

STEPHEN L. ROSEN, Member

GRAHAM B. WALLIS, Member

1 ACRS/ACNW STAFF:

2 MEDHAT EL-ZEFTAWY

3 WILLIAM J. HINZE, ACNW Member

4 NRC STAFF:

5 RAJ ANAND

6 CARL CONSTANTINO

7 LAURA DUDES, NRR/DRIP/RNRP

8 BRAD HARVEY ,NRR

9 *JAY LEE, NRR*

10 *YONG LI, NRR*

11 *JOHN SEGALA, NRR/RNRP*

12 *BELKYS SOSA, NRR/RNRP*

13 **ALSO PRESENT:**

14 *JEFF BACHHUBER, William Lettis & Associates*

15 *GOUTAM BAGCHI, Pacific Northwest Laboratory*

16 *GUY CESARE, Enercon Services, Inc.*

17 *WILLIAM EATON, Vice President of Engineering,*

18 *Entergy*

19 *JIM HENGESH, William Lettis & Associates*

20 *MARTIN McCANN, William Lettis & Associates*

21 *AL SCHNEIDER, Enercon Services, Inc.*

22 *GEORGE ZINKE, Entergy*

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29
30
31
32
33
34
35
36
37
38
39
40
41
42
43
44
45
46
47
48
49
50

A-G-E-N-D-A

Introductory Remarks, ACRS,
 Subcommittee Chairman, Dr. D. Powers 4

System Energy Resources (SERI), G. Zinke, et. al. 7

Overview of Application
 Response to NRC issues
 Schedule

NRC Staff Presentations, R. Anand, et. al. . . . 121

Review Status
 DSER Review
 Open Items
 Upcoming Milestones
 Schedule

General Discussion/Adjourn 157

P-R-O-C-E-E-D-I-N-G-S

8:33 a.m.

CHAIRMAN POWERS: The meeting will now come to order. This is a meeting of the ACRS Early Site Permit Subcommittee. I'm Dana Powers, Chairman of the Subcommittee. The other ACRS members in attendance are Mario Bonaca, Tom Kress, Steve Rosen, Graham Wallis. Professor Apostolakis has chosen not to participate with us. I'm don't why he's shunning our company but Bill Hinze from the ACNW has agreed to join with us. Welcome, sir. We enjoy having you here.

For today's meeting the Subcommittee will review and discuss the NRC staff's Draft Safety Evaluation Report regarding the Grand Gulf Early Site Permit and the applicant submittals for this early site permit.

The Subcommittee will gather information, analyze relative issues and facts, and formulate proposed positions and actions as appropriate for deliberation by the full Committee. Dr. Med El-Zeftawy is the cognizant ACRS staff engineer for the meeting.

The rules for participation in today's meeting have been announced as part of the notice of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this meeting previously published in the Federal
2 Register on May 4, 2005. A transcript of the meeting
3 is being kept and the transcript will be made
4 available as stated in the Federal Register notice.

5 It is required that speakers first
6 identify themselves and speak with sufficient clarity
7 and volume so they can be readily heard. We have
8 received no written comments or requests for time to
9 make oral statements from members of the public.

10 First I want to clarify something on the
11 rules. We are in the business of gathering
12 information and this is our opportunity to plunge into
13 some of these issues in some depth so I'm not going to
14 try to constrain that questioning a great deal by the
15 agenda.

16 If it appears that we are going to go a
17 little long, we may break for lunch and come back as
18 is appropriate because, otherwise, the Committee
19 doesn't have a chance to get a full airing of the
20 issues involved in this thing.

21 With that introduction I'll ask if any of
22 the members have comments to begin the discussions?
23 Okay. This is the second opportunity we've had to
24 look at an Early Site Permit. We previously looked at
25 the Anook application. The process we're following is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pretty much the same.

2 We will get a presentation of this
3 material at the June meeting, I think. At the end of
4 today's meeting we are going to need to give both the
5 staff and the applicant some guidance on what subset
6 of information presented here that should go to the
7 full Committee and some guidance on any issues they
8 would like to get addressed. Some members may want to
9 bear that in mind as we go through presentations.

10 With that, I think we'll go ahead and get
11 started on the proceedings. We'll turn to George
12 Zinke.

13 MR. ZINKE: Yes.

14 CHAIRMAN POWERS: George, welcome.

15 MR. ZINKE: Thank you.

16 CHAIRMAN POWERS: Again, I believe last
17 time we saw you was in connection with Maine Yankee.
18 Is that right?

19 MR. ZINKE: Yes, that's right.

20 CHAIRMAN POWERS: So you are obviously a
21 man of flexible interest.

22 MR. ZINKE: Yes, sir.

23 CHAIRMAN POWERS: And temperatures, too.
24 I am dying to know what it would be like at 170
25 degrees fahrenheit in Vicksburg, Mississippi. That

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 must be close to death.

2 MR. ZINKE: I think it's endured in the
3 shade. Well, I would like to start by introducing
4 some of the members of our team. I'm George Zinke,
5 project manager for the Early Site Permit Project for
6 Entergy. Bill Eaton is Vice President of Engineering.
7 He will give a few opening remarks in such a minute.

8 Kenneth Hughey is in the back and Mike
9 Bourgeois. This is Guy Cesare in front and Al
10 Schneider is in the back row. Then in our seismic
11 team Jim Hengesh and Jeff Bachhuber, and Martin
12 McCann. Various of these people may speak or answer
13 questions throughout the presentation.

14 Bill, would you like to make a few opening
15 remarks?

16 MR. EATON: All right. I don't know if I
17 need to come to the front or if you can hear me from
18 here.

19 CHAIRMAN POWERS: You can pull that
20 microphone a little closer to you and it will work
21 just fine. Introduce yourself first.

22 MR. EATON: All right. My name is Bill
23 Eaton. I'm the Vice President of Engineering for
24 Entergy Operations. I'm also Director of SERI, System
25 Energy Resources. I represent Entergy Corporation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 today in this Committee meeting and it's our pleasure
2 to be here as a part of the regulatory process
3 reviewing the status of the staff work and other work
4 on the Early Site --

5 CHAIRMAN POWERS: I hope this is the only
6 untruism that you will tell us today.

7 MR. EATON: Actually, it is. I haven't
8 been to one of these before so in a warped sort of way
9 it is my pleasure to be here.

10 Entergy certainly recognizes the
11 importance of the process that we're undergoing and we
12 recognize that the reviews that are going to be
13 conducted, all of the questions and the dialogue will
14 hopefully create a very robust safety review of the
15 project.

16 We also recognize that without this
17 particular sort of review dialogue and evaluation of
18 the technical merits of the project, that the economic
19 benefits of new nuclear generation would not be
20 realized by our customers and ultimately that's our
21 goal. We anticipate a lot of dialogue today, a lot of
22 information to be shared and we look forward to being
23 able to answer all of the questions. Those are my
24 brief comments.

25 CHAIRMAN POWERS: I want to make one

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 comment, Bill. That is, in some sense we are kind of
2 piloting this Early Site Permit Process. It's kind of
3 our first time through it. Over the course of the
4 period that you are visiting with us if you have
5 insights on things that you think could be made to
6 improve it or things that were omitted and what not,
7 I hope you will be willing to share those with us and
8 draw our attention to those.

9 MR. EATON: We certainly will. Thank you.

10 CHAIRMAN POWERS: George.

11 MR. ZINKE: Page 3 identifies the agenda
12 we plan to go through this morning. There are a lot
13 more slides in your package than we anticipate getting
14 to but just trying to anticipate where you may ask
15 questions.

16 CHAIRMAN POWERS: I was hoping you would
17 go through every single one of them. I wanted to see
18 how that was going to be done.

19 MR. ZINKE: Well, we may get to that.
20 Going to slide 4 just some general information. We
21 have prepared the Early Site Permit SSAR in accordance
22 with 10 CFR 5217, followed the format of the reg.
23 guide. The proposed new facility is located at the
24 site with the existing Grand Gulf Nuclear Station.

25 The Grand Gulf Nuclear Station was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 intended to be a two unit site. We only completed one
2 unit. The second unit initiated construction but it
3 was abandoned during the middle of construction. The
4 exact location of the Unit 2 was connected to the Unit
5 1. They were going to be mirror units.

6 DR. WALLIS: Where does this name Grand
7 Gulf come from? Is there a gulf of some sort that's
8 there?

9 MR. ZINKE: No.

10 DR. WALLIS: Is it a geological feature of
11 the site?

12 MR. ZINKE: No. There is a little town
13 called Grand Gulf and it's been that since the Civil
14 War -- before the Civil War.

15 MR. CESARE: The community was called
16 Grand Gulf, Mississippi.

17 DR. WALLIS: No reason that you know of?

18 MR. CESARE: I do not know that.

19 MR. ZINKE: So it co-exist with existing
20 Grand Gulf Nuclear Station the nature of which we
21 abandoned the Unit 2 so that the proposed location of
22 the unit or units would not be on the exact location
23 of where Unit 2 was going to be but it's within yards
24 of it.

25 CHAIRMAN POWERS: But you are no longer

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 proposing a mirror unit here?

2 MR. ZINKE: That's correct. No longer
3 proposing a mirror unit.

4 MR. ROSEN: Is the land that you will
5 actually begin work on, was that land disturbed by the
6 preconstruction activities at Unit 2?

7 MR. ZINKE: Yes, it was.

8 MR. ROSEN: Can you describe how much
9 disturbance there was?

10 MR. ZINKE: The area where we would be
11 putting the new unit there was a lot of lay-down areas
12 that were used for the construction of the first unit.
13 Initially when we were building Grand Gulf Unit 1 a
14 lot of that was forested area so the whole area then
15 was cleared including where we would be putting the
16 new units.

17 MR. ROSEN: So to the extent that the land
18 was disturbed, it was just deforested and there was no
19 digging in that area?

20 MR. ZINKE: There was borings but --

21 MR. ROSEN: No deep subset?

22 MR. ZINKE: No deep.

23 MR. HINZE: There's mention of swells
24 being filled to depths of up to 30 feet as I recall.
25 Are those in the immediate vicinity? Where are they?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ZINKE: We'll get to that when we get
2 into the geology section and that way I'll have the
3 people up here that can better answer that so if you
4 can hold that, we'll get to that.

5 The original Unit 1 was licensed in 1982.
6 Entergy is a company with a lot of subsidiary and
7 affiliate companies. A number of the subsidiaries are
8 involved with Grand Gulf. For this particular ESP
9 system energy resources as a subsidiary of Entergy is
10 the applicant which is different than the subsidiary
11 we used to operate the current Grand Gulf Unit 1 which
12 is Entergy Operations, Inc.

13 We used another subsidiary in preparing
14 the application. There's over 100 subsidiaries
15 associated with the Entergy parent company. Prior to
16 preparing the application we had extensive
17 preapplication activities with the NRC in order to be
18 more consistent in the product that we are going to
19 submit. We submitted the application October 2003.

20 Now on Slide 7. Our main purpose in doing
21 an Early Site Permit was to exercise the regulatory
22 processes. That was due to new regulations, Part 52,
23 Part 100, Part 2; the dated guidance documents that
24 were at various stages as far as how they would
25 support new construction; the new mandatory hearing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 process which was different than the hearing process
2 of 30 years ago.

3 We also wanted to establish the cost and
4 the value of an early site permit. A major purpose
5 was to establish some predictable and repeatable
6 processes associated with determining site
7 suitability and early site permit.

8 Many of the lessons learned would apply also to
9 an operating license application so it's not
10 restricted to just the ESP.

11 Additionally then as a secondary purpose
12 we did want to establish the suitability of an Entergy
13 site. We went through a site selection and chose for
14 our first Early Site Permit application the Grand Gulf
15 site. The nature of our Early Site Permit was to
16 defer the reactor technology selection to the combined
17 operating license and to determine what things that we
18 could close with finality at an Early Site Permit
19 Stage.

20 MR. ROSEN: Tell us a little bit about
21 your thinking of what about the Grand Gulf site made
22 it most attractive of all the sites Entergy could have
23 chosen.

24 MR. ZINKE: When we went through it some
25 of the economics were better for the Grand Gulf site

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 than some of the others. Entergy, of course, has a
2 southern plant and a northern plant. We looked at our
3 plants also in New England and the New York area so we
4 compared all of those together. The economics were
5 not the best there but they were good and better than
6 some of our other southern sites economics being
7 primarily the cost of transmission, any additions that
8 might have to be made to transmission.

9 We looked at that Grand Gulf appeared to
10 be a fairly good site, easier to look at a second unit
11 meaning that we could test the regulatory processes,
12 get guidance in place without tackling any really
13 unique site specific issues. Although we didn't
14 determine any of our sites to be totally unacceptable,
15 some would just have more difficult technical issues
16 so it was kind of the easiness of --

17 DR. WALLIS: Did seismic play a role in
18 this decision?

19 MR. ZINKE: Seismic looked real --
20 compared to a lot of other sites it looked to be in
21 very stable regions. Again, that made it technically
22 easier than some others.

23 DR. WALLIS: Floods make it better or
24 worse.

25 MR. ZINKE: Yes, but we've solved a lot of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the flooding problems. Like I said, we didn't
2 determine any unacceptable. Also the community around
3 Grand Gulf receptive to new construction so we
4 wouldn't have to deal with some of the problems that
5 we might have to do with other sites.

6 DR. BONACA: But you didn't look at any
7 new sites?

8 MR. ZINKE: We only looked at sites within
9 the Entergy fleet that had existing nuclear power
10 plants. That was by decision to say that in first
11 trying to test the ESP process and develop it would be
12 better to go with a site that had a nuclear power
13 plant.

14 The overall approach on slide 8,
15 application content, we identified site
16 characteristics. There is site safety assessment. Of
17 course, in the application there is also an
18 environmental report and emergency planning
19 information.

20 CHAIRMAN POWERS: Quality assurance as
21 well. Your overall approach seems like it's a little
22 truncated there.

23 MR. ZINKE: I'm not sure --

24 CHAIRMAN POWERS: Well, I mean, it has
25 other things. You have to deal with quality assurance

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 measures.

2 MR. ZINKE: Right. This is not a full
3 list of the application content, just some of the
4 major portions.

5 DR. KRESS: Could you go back to the
6 previous slide?

7 MR. ZINKE: Yes.

8 DR. KRESS: The accident dose consequences
9 are you going to get into that further later on?

10 MR. ZINKE: We will get into some of the
11 site characteristics of which like when we get to
12 meteorology that play a role in the accident dose. We
13 won't specifically have any slides on the accident
14 dose but we can answer questions in that area.

15 DR. KRESS: Well, just one simple
16 question. Did you do a Level III type analysis PRA
17 where you calculated the full consequences of the site
18 out to 50 miles or so?

19 MR. ZINKE: No. The PRA that would be
20 associated would be done at the operating license.

21 DR. KRESS: Even though that might be a
22 consideration in suitability?

23 MR. ZINKE: Our approach is that in
24 setting up what the site is for the Early Site Permit
25 and the characteristics and then reviewing to make

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sure that they would follow in within the limits of
2 reactor technologies that are being certified so the
3 assumptions that are contained within a certification
4 so that if you meet those assumptions, then you are by
5 definition going to be within acceptable limits in PRA
6 space, in radiological space.

7 Our approach, which I'm going to get to in
8 a little bit, really has to do with looking at how
9 this will interface with the things at the COL so that
10 you're basically guaranteed that you would meet all
11 the limits at that point in time.

12 DR. KRESS: Pretty much that means does
13 your side have chi over q that fits your Plant
14 Parameter Envelope?

15 MR. ZINKE: Yes, so we did chi over qs and
16 did some sample calculations with source terms to make
17 sure.

18 DR. KRESS: But that's at the dose at the
19 site boundary.

20 MR. ZINKE: Yes.

21 DR. KRESS: Mostly 10 CFR 100 type.

22 MR. ZINKE: Yes. Then also some normal
23 dose. We looked at normal dose also.

24 Going on to page 9, we made extensive use
25 of existing site licensing information, information

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that was used to license the original Grand Gulf Unit
2 1. A lot of that data then we looked at and we would
3 augment and evaluate it's applicability given the
4 passage of time.

5 We made use of what has been referred to
6 as Plant Parameter Envelope which is basically
7 characteristics of various reactor designs whether
8 certified or in a certification process or they're
9 anticipated. In the SSAR primary use of the PPE was
10 one to make sure and to look at our site
11 characteristics to make sure that they were in line
12 with the reactor designs are being certified. On the
13 most part they don't play a direct listing in the SSAR
14 section because the SSAR is more of a listing of the
15 actual site characteristics rather than those
16 postulated in the reactor designs.

17 We selected for ESP duration a 20-year
18 duration for the ESP. I'm going to talk a little bit
19 more about the considerations we did with that. We
20 also considered in the duration what kinds of things
21 could be resolved early in an ESP with finality versus
22 being revisited whenever you choose to use the ESP in
23 a COL application.

24 And we looked at how the ESP is then going
25 to fit into a COL application. We wanted to make sure

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that as a process we were not spending money on things
2 that you have to duplicate and just do over again so
3 that we could sort out those things that really have
4 value in resolving early versus those that you really
5 don't get a value in resolving now because you've got
6 to resolve it later again also.

7 MR. ROSEN: Are you going to come back in
8 some detail for the surrogate plant parameter
9 approach?

10 MR. ZINKE: I'm trying to think. Not to
11 any extent. If you have a question, probably now
12 would be the --

13 MR. ROSEN: I guess the overall question
14 is estimating accident dose consequences without
15 knowing the core design or containment design. It's
16 a bit of a mystery to me.

17 MR. ZINKE: On the accident dose what we
18 did was recognizing how the Early Site Permit is going
19 to fit with the COL. At that point in time when you
20 select the reactor technology you'll know all the
21 parameters, the source term. At that point in time in
22 that application you will then do a definitive dose
23 calc. So what we did then --

24 MR. ROSEN: Because that is required by
25 the regulation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ZINKE: Right. So what we did now was
2 we took our chi over qs which come from met
3 information and did sample calcs with the source terms
4 associated with technologies we know now. By
5 definition it ought to -- it has to work out because
6 as long as our site parameters were better than those
7 assumed in the design when you run the numbers, they
8 have to come out better. We did go ahead and do those
9 sample calcs and submitted them.

10 MR. ROSEN: For the plants that are now
11 certified.

12 MR. ZINKE: I actually think we did the AP
13 1000 which isn't yet certified but will be.

14 MR. ROSEN: Does that rule out for you
15 designs that are further away from fruition than AP
16 1000?

17 MR. ZINKE: No.

18 MR. ROSEN: If you don't know, for
19 instance, the number of kilograms of uranium.

20 MR. ZINKE: It doesn't rule them out but
21 it provides more uncertainty. The early site permit
22 basically said this is what the site parameters are.
23 Later on if there is some new technology it may or may
24 not work meaning that there may be some technology
25 that when we try to match it up with the Early Site

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Permit and ran the dose calcs, well, we can't build
2 that technology.

3 It doesn't necessarily rule them out. You
4 have to see whether or not at the COL stage you are
5 required to pick a technology that fits within the
6 parameters of the Early Site Permit. To the extent
7 that we could look at what we think is going to happen
8 now, we could insure that there will be reactor
9 technologies. But it doesn't exclude using them.
10 There is no guarantee they will fit.

11 MR. ROSEN: So you are essentially going
12 to accept the limitation or set a limitation on future
13 designs by accepting a Early Site Permit and so forth.

14 MR. ZINKE: Yes. In one sense you are
15 accepting the limitations but in another sense the
16 site is what the site is. Unless the technologies are
17 built such that they fit on your site, you couldn't
18 build them no matter what. There isn't anything we
19 are essentially doing at the Early Site Permit that
20 restricts it. It just means that you are never
21 guaranteed -- you can only build reactors that your
22 site will fit.

23 An example was the AP 1000 where the AP
24 1000 is designed for seismic area rock site. Grand
25 Gulf is not a rock site so we know that to use the AP

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 1000 there would have to be additional design analysis
2 work to see whether or not it would fit and then that
3 analysis would have to be submitted to the NRC for
4 approval at the license stage. Without that I could
5 not use the AP 1000. Future reactors would be the
6 same way.

7 DR. WALLIS: Well, you've listed a PBMR in
8 your list of possible grantors.

9 MR. ZINKE: We list those --

10 DR. WALLIS: How did you -- did that have
11 any influence on your application whatsoever?

12 MR. ZINKE: It had influence primarily in
13 the environmental section that we tried to evaluate
14 the environmental affects of various designs. In the
15 safety section it has very little influence because
16 you are just going to establish what the site has.

17 We list things like the PBMR, but we also
18 know that there may be characteristics of a PBMR that
19 has to match the site characteristic which we did not
20 identify or analyze so that would be a hole that would
21 have to be filled in at a COL application. There is
22 no guarantee with Early Site Permit that we can use
23 any of the reactors. We just use them in order to
24 provide -- so we would know what we think --

25 DR. WALLIS: It just seems to me you made

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a list of everything that you might conceivably know
2 about now so the next generation -- it wasn't clear
3 that has an influence on the application. It's just
4 a list of possible reactors.

5 MR. ZINKE: It had an influence in the
6 environmental section because we took parameters
7 there. In the safety section --

8 DR. WALLIS: Do you know the environmental
9 impact of a PBMR?

10 MR. ZINKE: To the extent that the PBMR
11 has identified that, but we also found that given the
12 information known now it wasn't bounding cases. We
13 know that in the case of like the PBMR and the gas
14 reactor GTMHR, there's not enough known to fully
15 analyze but we analyzed what information we had.

16 DR. BONACA: So the radiological -- I
17 mean, you use the ABWR and AP 1000 as the only one
18 that we use as far as the accidents provide the source
19 term.

20 MR. ZINKE: We've looked at the ESBWR
21 which hasn't quite entered to see how it is going to
22 compare with the ABWR.

23 DR. BONACA: Okay.

24 MR. ZINKE: On page 10 this is a chart
25 that shows pictorially a way that we looked at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 duration. We were taking a lot of the data early from
2 around when Grand Gulf was licensed which would be
3 pre-1980. In 2000 we reviewed that. We looked at
4 collected new data. Then the permit would be for 20
5 years. But a key important place is what happens at
6 COLA Preparation.

7 I'm on slide 11. The time-dependence of
8 site characteristics. Fundamentally and in general,
9 but not in all cases, the expectations of what is
10 going to happen in the future are reflective of the
11 past. We collect a lot of historical data and we in
12 general assume that has some reflection on the future.

13 That's not always the case and I'm going
14 to get into some examples but that is in general.

15 We also did population projections. We did
16 population projections out to 40 years after the end
17 of the Early Site Permit so 20-year duration plus 40.

18 CHAIRMAN POWERS: I guess it's no secret
19 that what this Committee is questioning is
20 expectations of the future are reflective of the past.
21 I mean, that's a truism.

22 MR. ZINKE: Well, there is some of that.

23 CHAIRMAN POWERS: The question is how
24 perfect is that reflection. Are you going to discuss
25 that issue?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ZINKE: Yes.

2

3 DR. WALLIS: Now, in the long term
4 Mississippi changes its course. Doesn't it?

5 MR. ZINKE: In the long term the
6 Mississippi has changed its course.

7 DR. WALLIS: There is evidence at the site
8 of that.

9 MR. ZINKE: Right. It changed --

10 DR. WALLIS: If there is a major flood, is
11 it likely to do it in the next 20 years?

12 MR. ZINKE: It floods every year. Most
13 every year. Of course, as far as changing course, a
14 lot of the changes in the course was before the river
15 was managed. Of course, now it is with the Corps of
16 Engineers. But in the application it talks about what
17 has happened to the river and, of course, then it
18 becomes involved --

19 DR. WALLIS: So you have assessed changes
20 in course.

21 MR. ZINKE: Yes.

22 CHAIRMAN POWERS: A lot of the trends,
23 certainly in the west with rivers, is to move toward
24 a less-managed river. Is there a similar trend
25 ongoing with the Mississippi or is it possible to have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a trend toward a less-managed river?

2 MR. ZINKE: For the Mississippi the trend
3 has not been towards less management. It's because
4 it's a major navigation route and the navigation is
5 not decreasing. There is some increase in traffic.
6 At least now there is no trend in that direction.

7 CHAIRMAN POWERS: I wonder if you had
8 spoke -- I have a sort of curious way of asking you if
9 you spoke to the Corps of Engineers and understand
10 what their anticipation is for the next 70 years.

11 MR. ZINKE: We did consult with the Corps
12 of Engineers. That was part of the process.

13 DR. WALLIS: I think the argument is that
14 you can manage the small floods but sometimes when you
15 manage the river too much that the undertow flood
16 becomes much worse. Once your management system
17 breaks down all kinds of things happen.

18 MR. ZINKE: That's correct.

19 DR. WALLIS: It can be worse than it you
20 had no management at all.

21 MR. ZINKE: The way the geography is in
22 this particular area, when floods get worse because
23 the area of Mississippi is so flat the flood rather
24 than getting much change in the height it spreads out
25 so you end up flooding lots of land but not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 necessarily --

2 DR. WALLIS: It spreads out close to the
3 site.

4 MR. ZINKE: It floods Louisiana.

5 DR. WALLIS: Well, Mississippi doesn't get
6 flooded.

7 MR. ZINKE: The river does.

8 DR. WALLIS: No, the state.

9 MR. ZINKE: Oh, parts of it but it takes
10 a lot of water to ever get --

11 MR. ROSEN: Up to the top of the bluff.

12 MR. ZINKE: Yes.

13 MR. ROSEN: How high is the bluff at the
14 site?

15 MR. ZINKE: Sixty.

16 MR. ROSEN: We'll come back to it. When
17 you show slide 18 I have some questions about the site
18 itself.

19 MR. ZINKE: Okay. Major things that have
20 happened at the COL application -- I'm back on slide
21 11 -- is that we select reactor technology and then
22 some things can happen that previously could not
23 happen with an Early Site Permit. That is the first
24 time that you know what your site related design
25 margins are.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Up until then all you have is site
2 parameters and you also at the COL application process
3 is the first time you can establish risk significance
4 of any particular site characteristic. That is why as
5 we looked at duration we looked at what do you really
6 know at the COL application.

7 You would know a whole lot more than that
8 information is used. You could things at an Early
9 Site Permit stage but you would have to do them over
10 because you don't know to what extent any small margin
11 or big margin is worth.

12 At page 12, at COL we would be doing the
13 52.79 comparison which is where we look to make sure
14 the design falls within the parameters. We've looked
15 at how that would be done. In doing that we would
16 then look at safety margins. We would look at the
17 potential for change in variation for the Early Site
18 Permit site characteristics because at that point then
19 you know what the significance of any of those changes
20 is.

21 Just because the parameters change doesn't
22 mean that it's risk significant for any particular
23 characteristic for any particular design. We would
24 look at regulatory issues that have come up since
25 then, operating experience and, again, the safety and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 risk significance of all of those.

2 So then at that point we can then look at
3 the Early Site Permit and the information that we
4 would have and make some judgments and identify what
5 needs to be done which could result in design
6 considerations and monitoring considerations.

7 What I want to go through now is just some
8 examples of how we saw this play because then that all
9 has to do with whether these things do vary or don't
10 vary.

11 In the population, which primarily affects
12 emergency preparedness, at the point of a COL we would
13 know the latest census and that would then factor into
14 the emergency plan and we could confirm the validity
15 of those things that were in the Early Site Permit to
16 ensure that, indeed, no changes have occurred at that
17 point in time since for our application we did not
18 submit full and completed emergency plans and that
19 would be part of a COL application.

20 We would also be looking at the evacuation time
21 estimate which would be the safety issue, or one of
22 the safety issues directly associated with population.
23 Not the only one but one of them.

24 With regard to man-made hazards, although
25 we looked at man-made hazards in the Early Site

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Permit, we don't think that has a lot of finality
2 because the future isn't reflective of the past.
3 Anybody can come and build things so that would have
4 to be looked at including things like air traffic.
5 That is not something that is predictable with
6 assurance.

7 And there is meteorological.
8 Meteorological data affects chi over q and affects a
9 number of things. Since we have right now selected a
10 site that has an operating unit, meteorological data
11 is gathered daily. At that point in time we would
12 know whether or not something different is happening.

13 What we see looking at the past is we see
14 variations. We don't see any relationship to those
15 variations to what has been called global warming but
16 we do have variations that are associated with various
17 conditions --

18 DR. WALLIS: Changes in pattern in
19 Wisconsin and Minnesota and the rivers in the west.

20 MR. ZINKE: Right.

21 DR. WALLIS: You've got a huge drainage
22 area for your river.

23 MR. ZINKE: And so we know just the local
24 area but the affects on the local area in collecting
25 the data.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: Floods in the Mississippi are
2 not influenced by the local area at all.

3 MR. ZINKE: They are reflected by what
4 happens north and what happens south of us. Again, we
5 have not seen changes at this point in time that are
6 any different than the normal variations.

7 CHAIRMAN POWERS: But you have to project
8 70 years effectively

9 MR. ZINKE: In the guidance as it exist
10 today we don't project in the area of the meteorology
11 as far as what we think the temperatures will do then.
12 We do look at the flood data and determine what we
13 think the maximums are of that data but it's based
14 upon past data. We don't enter it into a predictive
15 computer program and say add this much.

16 CHAIRMAN POWERS: But if I look at what I
17 see without doing a systematic survey but rather a
18 spot check of what is available, I would be able to
19 predict more frequent and intense El Nino affects.
20 The consequence of that is that the rainfall in the
21 southern parts of the United States goes up. You
22 don't take that into account at all?

23 MR. ZINKE: At the stage we are in the
24 Early Site Permit, no.

25 CHAIRMAN POWERS: Why not?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ZINKE: At the stage of an operating
2 license it would be different. Whether the rain goes
3 up or doesn't doesn't tell you whether that's
4 important. It doesn't tell you until you pick your
5 design and on starting to match.

6 CHAIRMAN POWERS: I think to any kind of
7 extent you end of saying give a permit any place
8 because I can't determine the significance until I
9 choose a design. I can establish the significance.
10 I know roughly what things are going to be. I mean,
11 Lord knows you can do safety assessments without
12 precision accuracy because we never have that kind of
13 accuracy.

14 MR. ZINKE: Part of this is the nature of
15 the Early Site Permit because it does not permit
16 anything. It does not allow any construction to
17 start. It lays out parameters that characterize the
18 site but nothing is allowed and until then you match
19 that with the other pieces at a COL application, that
20 is the application then that will actually allow
21 something to occur.

22 MR. ROSEN: One more quick point on your
23 man-made hazards. You say you're going to consult
24 with the FAA and the Air Force?

25 MR. ZINKE: Yes.

1 MR. ROSEN: Well, I would suggest there
2 are other services, military services, that have
3 aircraft.

4 MR. ZINKE: Yes.

5 MR. ROSEN: You might want to check with
6 them.

7 MR. ZINKE: This was not intended to be a
8 comprehensive list but just some examples of things
9 that we would do in these areas within the application
10 in all of our required contexts.

11 MR. CESARE: The FAA would cover
12 commercial flight traffic. What we found is the FAA
13 in concert with the Air Force in Atlanta gave us a
14 fairly thorough look at military training, military
15 air training route.

16 That is why we listed the FAA and the Air
17 Force seemed to be one stop shopping to interpret the
18 aeronautical charts that are publicly available to
19 tell us where the commercial air traffic is and
20 allowed us to apply the staff's review guidance. Then
21 we had to consult with the Air Force for the military
22 training that we wouldn't know. And also it's subject
23 to change fairly frequently.

24 MR. ROSEN: I think that is appropriate at
25 this stage but at some point you might want to do a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 more in-depth with the particular services that are
2 flying military aircraft in that area.

3 MR. ZINKE: Okay.

4 MR. HINZE: In terms of the man-made
5 hazards, did you check with the economic development
6 groups within the area that are soliciting
7 construction of industrial sites and so forth? Is
8 that incorporated in the man-made hazards looking
9 forward to this 60-year period?

10 MR. ZINKE: We did consult with the state
11 economic development boards to find out what they
12 could say about what was happening in that area. That
13 shaped our opinions about what we put in the
14 application.

15 CHAIRMAN POWERS: I'm going to come back
16 to your consultation with the FAA but I think there is
17 a better slide to do it.

18 MR. ZINKE: Okay. In the area of seismic
19 when you get to the COL stage we are required to
20 collect more data specifically in the area where once
21 you determine where the foundations are actually going
22 to go.

23 Grand Gulf site located in Claiborne
24 County, Mississippi, eastern bank of the Mississippi,
25 2,100 acres. Nearest population center is Vicksburg,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Mississippi which is 25 miles north. The closest town
2 is Port Gibson, Mississippi which is about six miles
3 southeast.

4 DR. KRESS: What is the population of
5 those two cities?

6 MR. ZINKE: Fort Gibson is 10,000.

7 DR. KRESS: It's really small.

8 MR. ZINKE: Yes. Vicksburg is 25,000 to
9 30,000, I believe. Sixteen shows a general map of
10 where the Grand Gulf site is south of Vicksburg,
11 southwest of Jackson. Seventeen, exclusion area
12 boundary. The proposed was revised to encompass the
13 proposed new facility. There are no residents in the
14 EAB; not traversed by rail or navigable waterway. Low
15 population zone, two-mile radius, essentially
16 unchanged from Unit 1.

17 CHAIRMAN POWERS: Let me ask a question
18 about that. I got confused. Not so much from your
19 document but in the staff's document so maybe they are
20 the right ones to ask but I'll ask this anyway. The
21 low population, you have the exclusion area boundary?

22 MR. ZINKE: Yes.

23 CHAIRMAN POWERS: Okay. Is it two miles
24 from that border or is it two miles from the center of
25 the site?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ZINKE: I've got to think through.

2 CHAIRMAN POWERS: As I read it initially,
3 it was two miles from the border of the exclusion area
4 boundary. Then subsequent reading I said maybe it's
5 two miles from the center of the proposed site. It
6 makes a 325-foot difference or something like that.

7 MR. ZINKE: Right. I'm trying to --

8 MR. LEE: Excuse me. This is Jay Lee.
9 Dr. Powers, that's from the reactor?

10 CHAIRMAN POWERS: Say that again?

11 MR. LEE: From reactor itself.

12 CHAIRMAN POWERS: Two miles from the
13 reactor.

14 MR. ZINKE: Center line of the reactor.

15 CHAIRMAN POWERS: The center point of the
16 proposed site to the low population zone boundary is
17 two miles.

18 MR. LEE: Right.

19 CHAIRMAN POWERS: The center of the
20 reactor to the exclusion area boundary is roughly 600
21 feet or something like that?

22 MR. LEE: About 5,000 and some feet.

23 CHAIRMAN POWERS: I got confused on that.
24 I mean, it's more a matter of wording. It's not your
25 document but it's staff document.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ZINKE: I know in ours since we didn't
2 know exactly where the reactor would be, we also did
3 some looks at -- we might measure that a little bit
4 different place which then allows you some flexibility
5 on where it might go.

6 CHAIRMAN POWERS: Yeah. That's why you --
7 I would have put it at two miles from the exclusion
8 area boundary because then I can move the reactor all
9 around the exclusion zone and not change any of the
10 subsequent multiplications.

11 MR. ZINKE: Figure 18 shows the proposed
12 facility area. You can see where it's westerly of the
13 existing Grand Gulf buildings.

14 MR. ROSEN: Let's just talk about that
15 figure for a minute. The bluff begins where on that
16 figure?

17 MR. ZINKE: I'm not sure that's going to
18 be the best figure to show the bluff.

19 MR. EATON: George, I can point it out.
20 This is the flood point of the river and these lake
21 features here are old basically drainage channels that
22 flood very frequently. The river floods a couple of
23 times in the spring and probably once in the fall,
24 probably what happens on the Ohio on the upper
25 Mississippi.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Basically as the topographic lines start
2 concentrating this is the edge of the flood plain so
3 the bluff starts roughly here. This is what we call
4 the heavy haul road which goes from a barge split
5 across the flood plain to the foot of the hill. The
6 plant proper is up here 65 or 70 feet up the hill. It
7 does not flood at all. Those are the topographic
8 issues.

9 MR. ROSEN: Now, down on the flood plain
10 there are no structures or equipment of any kind or
11 than the barge split?

12 MR. EATON: There is quite a bit of
13 structure and equipment. Grand Gulf utilizes what is
14 called raining or radial wells. These circles are
15 orange concrete caisson structures with pumps that
16 draw water from the alluvial strata under the river
17 itself so you get the benefit of roughly filtered
18 water and you get the benefit of quite a bit of
19 temperature depression so you are able to get a cooler
20 water supply for plant surface water, plant cooling
21 water using these radial wells.

22 There are five of them along the river
23 with laterals that go radially from the caisson out
24 into the river structure and under the flood plain as
25 well. Then to support the electrical power supplies

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and the control systems for those radial wells we have
2 a large elevated structure with transformers and
3 switch gear associated with those particular
4 components.

5 MR. ROSEN: And that structure is not
6 submerged when the river floods?

7 MR. EATON: It is not submerged when the
8 river floods. The water obviously comes up on the
9 caissons but does not submerge the elevated
10 transformer and switch gear structures.

11 MR. ROSEN: How does the power get to the
12 pumps?

13 MR. EATON: They have lines and a
14 redundant underground line that goes down the hill
15 across the flood plain to these facilities.

16 MR. ROSEN: So those facilities, the pumps
17 itself, let's just pick anyone of them. is fed power
18 from an underground source in a cable?

19 MR. EATON: Cable and overhead line as
20 well.

21 MR. ROSEN: But it is also is flooded. Am
22 I correct?

23 MR. EATON: That's correct.

24 MR. ROSEN: I'm having difficulty with the
25 flooded pump.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. EATON: The pumps are inside a caisson
2 structure. The pumps are not flooded. The water
3 comes up on the exterior of the caisson. It doesn't
4 rise to the top level and those flood levels are
5 established as part of the design features of the
6 radial well system. The flood waters are accommodated
7 by virtually the elevation of the structures that are
8 down there.

9 MR. ROSEN: They are basically in a great
10 big pipe.

11 MR. EATON: That's correct.

12 MR. ROSEN: So they don't get wet.

13 MR. EATON: That's correct.

14 MR. ROSEN: And inside the pipe is a pump
15 motor.

16 MR. EATON: That's right.

17 MR. ROSEN: A pump and pump motor.

18 MR. EATON: That's correct.

19 MR. ROSEN: Big pump motor.

20 MR. EATON: Big pumps.

21 MR. ROSEN: Powered by at that point what
22 voltage?

23 MR. EATON: 4160, I believe.

24 MR. ROSEN: And access for service?

25 MR. EATON: Access for service probably

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 nine months out of the year would be via roadway.
2 Truck operators come down and do their daily round,
3 shift and rounds. In extreme flooding conditions the
4 operators access those radial wells by boat.

5 MR. ROSEN: Then they climb up over the
6 top of the caisson and go down inside.

7 MR. EATON: There are structures attached
8 to the caissons for boat docking and there are safety
9 systems and rails and platforms that they access.
10 Then they go up to the top works where the motors are
11 and the switch gears for the particular radial well.

12 MR. ROSEN: Is any of that equipment
13 safety related?

14 MR. EATON: No. This is normal cooling
15 water for the plant totally separate from the safety
16 related central heat --

17 MR. ROSEN: Which comes from the pond up
18 on the bluff?

19 MR. EATON: The safety related aspects of
20 the design are associated with some very large
21 underground basins that are located -- we're talking
22 Unit 1 but right here is the essential service water
23 basins which are underground storage safety related
24 seismic and that constitutes the heat sink for the
25 plant.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ROSEN: And they get their source
2 from?

3 MR. ZINKE: They have a 30-day supply and
4 then makeup water to them would be from service water.

5 MR. EATON: All the makeup water for the
6 plant comes from the river. These supplies are
7 secured, recirculated, chemically treated and managed
8 in accordance with the technical specifications.

9 MR. ROSEN: Well, that's my first set.
10 Thank you very much. That's very helpful. That's my
11 first set of questions. My second set has to do with
12 the stability of the bluff. What can you tell me
13 about what history has been of subsidence along that
14 bluff? How far back is the first safety related
15 structure from the bluff?

16 MR. ZINKE: Is that going to be in our --

17 MR. BACHHUBER: Yeah, I'll be covering
18 some of that. I have a cross section that will really
19 help.

20 MR. ROSEN: I have been watching
21 television lately and I just remembered seeing a bluff
22 in New York City, actually, on the Henry Hudson
23 Parkway while I was looking at this and thought to
24 myself, oh, my goodness. Maybe someone should tell me
25 about that. That's what I'm interested in.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ZINKE: All right. Page 19, basically
2 the 0 to 10 miles, 10,000 people, 10 to 50, 325,000.
3 Projections, we used Mississippi and Louisiana State
4 for projections of growth not projecting a large
5 increase in population in that area. The areas, on
6 slide 20, are generally rural, remote. The primary
7 industry forestry and agriculture. No commercial
8 airports within 10 miles. Closest major highway is
9 U.S. 61 which is east of the site.

10 No active rail lines, close gas/oil
11 pipeline, 4.75 miles. Mississippi River is important
12 river transportation which we did analyze as part of
13 the safety of what goes up and down the river.

14 CHAIRMAN POWERS: Let me ask this question
15 on both your commercial airport at Jackson and your
16 air traffic corridors. We see some dynamicism in the
17 way the commercial industry structures its aircraft
18 transport. They have for the last 20 years been using
19 a hub kind of concept and now we see people going away
20 from that. Is there any indication that Jackson could
21 become a more active airport than it is now?

22 MR. ZINKE: I don't know that we've seen
23 any indication but I don't think there is anything to
24 preclude that in the future either.

25 MR. CESARE: The transition away from hubs

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 has seen the growth, therefore, of the low-cost
2 carriers but the same routes getting from Jackson to
3 the major cities haven't changed. New Orleans,
4 Jackson, Memphis, Atlanta, Dallas all exist
5 geographically in the same place.

6 When we looked at the aeronautical charts
7 the major commercial airways were virtually unchanged
8 from 1980. What we saw that we couldn't guarantee was
9 the military stuff and that is where FAA led us to
10 other places. The same routes have virtually been
11 unchanged since when we put those charts in in 1980.

12 MR. ZINKE: Slide 22, proposed elevation
13 for the new site located 65 feet above normal
14 Mississippi River levels. Like I said before, we did
15 in the application consider river-borne hazards.
16 Climatology, meteorology, we used the sources from
17 Vicksburg and Jackson and Unit 1 Met tower.

18 CHAIRMAN POWERS: There was some
19 controversy about the Met tower that is available to
20 you on the site. It apparently has changed from one
21 kind of a structure to another.

22 CHAIRMAN POWERS: We had a problem with
23 some of the Met tower data that we initially submitted
24 that one of the instruments was found to be not giving
25 true indications I guess is the best way to put it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The structure itself hasn't changed over the major
2 life of the plant.

3 MR. SCHNEIDER: There have been several
4 changes in the Met tower --

5 CHAIRMAN POWERS: Microphone, Al.

6 MR. CESARE: Initial site characterization
7 had a temporary Met tower that provided data for the
8 PSAR stage in the '70s. That tower was continually
9 improved to the one that, I think, Al, the site used
10 for a number of years. There have been a number of
11 instrument improvements on the current tower.

12 MR. ZINKE: Say who you are.

13 MR. SCHNEIDER: Al Schneider with Enercon.
14 They have made some improvements in the Met tower
15 recently, I think, as recent as 2000. The problem I
16 think you're talking about is the directional wind
17 data that was questioned for some of the period that
18 we used in the initial submittal. That problem was
19 corrected and we have in our AIs provided data from
20 years 2002 to 2003 which isn't affected in the way
21 that the previous data was. It did change a little
22 bit, the figures and things in the submittal, but not
23 significantly.

24 DR. WALLIS: Do these thunderstorms
25 include tornados? Are they included in there are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there were no tornados?

2 MR. ZINKE: No, we have tornados.

3 DR. WALLIS: I just wonder why it wasn't
4 listed here.

5 MR. ZINKE: Just not shown on the slide.
6 I mean, the application discusses tornados. It
7 discusses the affects from hurricanes which also we
8 receive at the Grand Gulf site, general storms. It's
9 just not listed on the slide. It's generally a humid
10 area, short cold season, infrequent snow and ice
11 events. There are occasions we do get some snow and
12 ice. A lot of thunderstorms. Slide 14 00

13 CHAIRMAN POWERS: Coming to your data
14 sources that you have, you've indicated data from
15 Vicksburg and Jackson to supplement what you have for
16 your Met tower. Have you used data from places like
17 Memphis? Then overall the question that I will get to
18 eventually is why is it appropriate to use Vicksburg
19 data and Jackson data? How do you go about assessing
20 that's appropriate for your site? I mean, Vicksburg
21 is 25 miles away. Jackson is 65 miles away.

22 MR. ZINKE: Al, you want to answer that?

23 MR. SCHNEIDER: I don't know if I can
24 answer it specifically but I think in meteorological
25 terms 25 miles isn't all that much. There was a good

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bit of data comparison between the Met tower data
2 taken at the site and the data taken in Vicksburg and
3 also in Jackson. They show very close agreement.

4 CHAIRMAN POWERS: I mean, that's the
5 problem. I've not seen but maybe because I didn't
6 identify. I mean, you could point me to the
7 appropriate place in the document. Is there some sort
8 of quantitative matching between the data that you
9 have for your site and the data that you're using to
10 supplement that? Give me some better feel for what
11 one -- why they are appropriate to use.

12 MR. SCHNEIDER: I don't have anything
13 right off the top of my head but, as I said, we did
14 compare a number of parameters for the different
15 locations and they did compare reasonably. Level of
16 humidity was one, for example. Humidity conditions in
17 Vicksburg are very close to --

18 CHAIRMAN POWERS: But when I look at
19 things like wind speed I don't see a very good
20 comparison.

21 DR. WALLIS: Doesn't the bluff influence
22 this? If there's a strong west wind and it flows up
23 over the block you get turbulence and stuff behind the
24 bluff which you wouldn't get on a plain?

25 CHAIRMAN POWERS: Turbulence is good, by

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the way.

2 DR. WALLIS: It mixes things up. It may
3 break things but it mixes up --

4 CHAIRMAN POWERS: Turbulence we like.

5 DR. WALLIS: I'm not familiar with this
6 but you do something about the local conditions at the
7 site and how they influence the winds and so on?

8 MR. ZINKE: Yeah, but that also then
9 factors into the design justification for the location
10 of the Met tower because the Met tower data has to be
11 located in order to reliably predict because that's
12 the data that is then used in your real-time accident
13 dose calculations.

14 DR. WALLIS: Now, 100-year snow pack thing
15 is still an open item, is it, or have you sorted that
16 out?

17 MR. ZINKE: Well, all of our open items
18 are still open. We won't submit our responses until
19 June 21 so we have been in discussion.

20 DR. WALLIS: You've had trouble figuring
21 out how much it's going to snow down there in 100
22 years?

23 CHAIRMAN POWERS: I would think that would
24 be an impossible to figure out how much it's going to
25 snow in Mississippi.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ZINKE: The open item doesn't so much
2 happen to do with figuring out how much it snows or
3 how much it rains. It has more to do with how many
4 numbers do you add together to get a worse case.

5 CHAIRMAN POWERS: It has to do with what
6 independent and dependent probabilities. You'll love
7 it, Professor Wallis.

8 DR. WALLIS: Good.

9 MR. ROSEN: At some point during your
10 presentation are you going to discuss the transmission
11 system and the effects of an additional unit on it and
12 current grid reliability and predictions of future
13 grid reliability?

14 MR. ZINKE: No. For the Early Site Permit
15 there was some amount of -- very small amount of
16 prediction on the environmental effects of
17 transmission in the environmental report but we
18 deferred in the environmental report most of the
19 efforts on transmission.

20 We would do that analysis at the COL. In
21 the safety area the transmission off-site reliability
22 is basically divided up so that is the subject that
23 gets addressed at the operating license application
24 phase versus site characteristic.

25 MR. ROSEN: Surely you know now whether

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the existing transmission will carry the load.

2 MR. ZINKE: Yes, we do and it would for a
3 unit. If we built the maximum units for the early
4 site permit there might have to be some upgrades.
5 Part of that would then have to do with where new
6 industry might locate and where you were trying to
7 move the electricity. Then it would also end up being
8 dependent upon whether or not the plant is ultimately
9 going to be regulated.

10 I'm talking about state regulated. Where
11 you are going to try to move the electricity to so
12 there's a number of uncertainties to do with the
13 transmission that wouldn't be decided until we make a
14 decision to build the plant and at that point decide
15 where are we going to sell it. Relative to the safety
16 issues associated with the reliability, even though it
17 is a COL issue is when you actually have to address
18 that in the application. Just because we have
19 operating plants in the south we are aware of the
20 reliability data.

21 MR. ROSEN: Grid reliability is an issue
22 of some prominence now with the trend towards the
23 regulation and the impacts thereof on grid
24 reliability. I was just trying to get an early
25 understanding of your views as to how good is the site

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 now and how likely is that record is to continue or be
2 improved. For instance, let's ask a specific
3 question. What's the current frequency of loss of
4 off-site power?

5 MR. ZINKE: No, we haven't lost off-site
6 power for Grand Gulf in over 10 years.

7 MR. ROSEN: So it's at least not more than
8 once in 10.

9 MR. ZINKE: When I checked on the data
10 before, some of our data -- that's the data I have
11 right now. The site people and our engineering has
12 more data on reliability for our whole southern fleet.
13 We are as Entergy addressing and staying current with
14 the issues of off-site power reliability just because
15 we are a large company with a large number of plants
16 in the southern region so it is an issue that we are
17 actively managing.

18 DR. WALLIS: While we're talking about
19 weather and whether it snows there, what's your 100-
20 year hailstone diameter? You've got hailstones the
21 size of golf balls or grapefruit or baseballs or what?
22 This would presumably affect the switch yard and loss
23 of off-site power. Are you worried about hailstones?

24 MR. ZINKE: I don't have that.

25 DR. WALLIS: Some parts of the country

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it's quite prevalent large hail.

2 MR. ZINKE: We do get hail.

3 DR. WALLIS: But you don't get the large
4 hail they get in parts of the west? You do?

5 MR. ZINKE: We can get large hail.

6 CHAIRMAN POWERS: Pea-size hail?

7 MR. ZINKE: I don't have that information
8 for you today.

9 DR. WALLIS: I just wonder why it's not
10 part of the list of things. If you list infrequent
11 snow, you might as well list --

12 MR. ZINKE: For the slides we did not try
13 to be comprehensive and list everything that we looked
14 at and that's in the application.

15 That pretty much ends where we are in
16 moving into the seismic. I was going to move to slide
17 26.

18 CHAIRMAN POWERS: Before you jump there,
19 staff has questioned your maximum and minimum
20 temperatures that you have used. What is your
21 response?

22 MR. ZINKE: We -- Al, you can answer that.

23 CHAIRMAN POWERS: Come to a microphone,
24 please, sir.

25 MR. SCHNEIDER: We intend to provide the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 data that the staff has asked for.

2 CHAIRMAN POWERS: You can respond to the
3 particular question which is a matter of a couple of
4 degrees here or there. But in the larger sense what
5 they are questioning is your data collection for this
6 historical thing.

7 You are dependent on historical data if
8 you are to project what the future is going to be.
9 They have questioned specifically the high and low
10 temperatures. But in a larger sense they are
11 questioning your whole collection of historical data.
12 I mean, how do you defend yourself on that question?

13 MR. SCHNEIDER: I think we have taken the
14 approach to review the data that is available for the
15 area of concern.

16 CHAIRMAN POWERS: But they didn't make up
17 their numbers.

18 MR. SCHNEIDER: No, they didn't.

19 CHAIRMAN POWERS: They went and looked and
20 came back and said, "Gee, we find a higher temperature
21 and a lower temperature." I mean, it can be a
22 particular instance or just made a mistake or didn't
23 see that particular number, or maybe the staff is
24 mistaken, or it could be part of a larger issue and
25 that's what I'm trying to find out. Is it part of a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 larger issue on the data examine issue.

2 MR. CESARE: I believe the -- I don't know
3 the story on the lower temperature but the maximum
4 temperature that the staff identified was at the
5 Vicksburg National Military Park data collection. I
6 believe we knew about that temperature but we
7 discounted it based on temperatures on the same period
8 from Vicksburg and the site.

9 That's the initial understanding of our
10 position. We still have to review that. It was a
11 higher temperature but at that time I think we also
12 had data from Fort Gibson as well from the data
13 collection center there. I don't know if we knew
14 about it previously but it does look like an outlier.

15 DR. WALLIS: On the lower temperatures the
16 staff seems to be worried about your ultimate heat
17 sink water storage freezing. This is a large tank of
18 water, Grand Gulf, Mississippi. Is it actually going
19 to freeze?

20 MR. ZINKE: No. The ultimate heat sink
21 within the application we said that we would follow
22 the same kind of design assuming we pick a reactor
23 that needs an ultimate heat sink, that the design
24 would follow the same idea of the Unit 1 which would
25 be separate basins of water. They are not real large

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 basins as far as surface area as compared to the
2 Mississippi River.

3 DR. WALLIS: Is the staff serious about
4 the possibility of freezing of this water storage?

5 MR. ZINKE: That was the question and it
6 does go below freezing.

7 DR. WALLIS: Yes, but not for long.

8 MR. ZINKE: Not for long.

9 MR. CESARE: And, indeed, part of our
10 response is about looking at days below freezing over
11 a period of time.

12 DR. WALLIS: So you're going to respond to
13 that.

14 MR. CESARE: Oh, yeah. And the surface
15 area of the basin. The Grand Gulf Unit 1 experience
16 has been no freezing in these large swimming pools
17 that are very deep.

18 MR. ROSEN: There would be design
19 solutions in any event that would be rather simple.
20 Tempering circuits or something like that.

21 MR. ZINKE: Yes.

22 MR. CESARE: Yes.

23 MR. ZINKE: I think the main point for the
24 Early Site Permit is that to identify those kinds of
25 things so that when we get to the COL stage we do the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 appropriate designs and don't forget what the
2 characteristics are.

3 MR. CESARE: My perception also is that
4 the staff was covering a broader scenario where the
5 ultimate heat sink was perhaps a pond or something
6 like that taking it in that approach. If we do
7 mechanical basins as we have for Unit 1, then we
8 believe there would be very little chance and that
9 would be on design.

10 MR. ROSEN: You said they are very deep.
11 Could you just tell me how deep so I get a feel for
12 that?

13 MR. EATON: I think approximately 30 feet
14 deep and a couple million gallons underground to some
15 extent flow beyond the confines of the surface area.
16 Basins are designed to support some bands. The basins
17 are quite large.

18 MR. ROSEN: You said they go underground.
19 They are deep and they are actually tunneled in under
20 the ground and the overhang parts are supported in
21 some way?

22 MR. EATON: The basins are primarily
23 underground basins. The above-ground portion supports
24 a cooling tower design so there is a substantial part
25 of the basin that is underground.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: So it's designed to be below
2 the frost line.

3 CHAIRMAN POWERS: Which isn't very deep.

4 MR. ZINKE: Okay. We are going to move to
5 slide 26. We are going to move into the geological
6 seismic geotechnical portion of the application of
7 which I'm going to let experts discuss this.

8 I want to take you through that one of the
9 major items in the application was the seismic
10 analysis and the seismic analysis was under a new part
11 100 section different than our existing fleet with the
12 primary difference was that the new analysis is a
13 probabilistic safety hazard analysis, probabilistic
14 based for determination of the SSE versus the current
15 Grand Gulf and, in fact, the current fleet of nuclear
16 plants which was deterministic seismic SSE.

17 DR. WALLIS: On your slide presumably EERI
18 is EPRI?

19 MR. ZINKE: We missed that one but it is
20 EPRI. The difference if you look in the blue section
21 that is where part of the probabilistic where
22 differences in the probabilistic is in the
23 deterministic design like for Grand Gulf the SSE is
24 the worse case earthquake. Under the new analysis for
25 seismic there is weight given to all earthquakes, not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 just the worse earthquake. There is also a part of
2 the process that looks at giving different weights to
3 different models of how earthquakes act.

4 The left hand side was as part of this
5 process the input into the PSHA was the EPRI update of
6 the ground motion models went through a SSHAC process,
7 developed a PSHA code. Then also in the green part
8 there was an update of the geological geophysical
9 database and all that then went into performing of the
10 PSHA.

11 Through that we identified a new fault but
12 it was a precharacterization of fault data to say that
13 this would be described as a different fault called
14 the Saline River Fault so that factored in. Then the
15 site investigations which factored into borings that
16 were for the original Grand Gulf plus some new
17 borings.

18 That's basically how the seismic process
19 and analysis plays out in a flow chart fashion as in
20 contrast to the old seismic analysis for the current
21 fleet which basically skips a large amount that's on
22 there and to determine the SSE is deterministically
23 the worse-case earthquake. We still do a lot of
24 investigations but the bottom line is it's really
25 something different than what we do now.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I'm going to turn it over to Jeff
2 Bachhuber.

3 MR. BACHHUBER: Thank you. If it's okay,
4 I'm going to present standing up if you can hear me
5 okay. I have a loud voice.

6 CHAIRMAN POWERS: We have to get you a
7 microphone.

8 MR. BACHHUBER: Okay. Thank you. I'll be
9 pointing to a lot of the figures so it's easier for me
10 from a standing position. Plus that way I can run out
11 the door quicker in case it gets too hot in here.

12 CHAIRMAN POWERS: We have guard outside so
13 you can't get very far.

14 MR. BACHHUBER: Okay. George already
15 covered our process so kind of a flow chart of how we
16 ultimately came up with the SSE spectrum. First I'll
17 be presenting this branch of the tree here under site
18 investigations which included performing the site
19 borings, laboratory testing, developing the site
20 geotechnical profile, and also the site response
21 profile.

22 Also under this portion of the work we
23 reviewed potential site hazards from landslides,
24 liquefaction, any kind of seismically induced ground
25 failure. After my presentation Jim Hengesh will be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 working us through this portion of the flow chart and
2 so the source characterization looking at these
3 sources that George has mentioned.

4 Then Marty McCann will be wrapping it up here
5 discussing the PSHA site response analysis in the SSE.

6 DR. KRESS: Can you explain to me what
7 SSE's spectrum is? With the original deterministic
8 SSE you design your system to withstand that thing but
9 then have a site shutdown. Now you've got a spectrum
10 of frequency versus strength, I presume. Do you have
11 a slide that talks about how there is some kind of
12 acceptance criteria built into that?

13 MR. HENGESH: That is the ground motion
14 that has the 10 to the -5 median annual probability.

15 DR. KRESS: That's how you select the
16 strength of the earthquake that you are going to
17 design for safe shutdown.

18 MR. HENGESH: Yes.

19 DR. KRESS: That's basically my question.

20 MR. BACHHUBER: Right. Yeah, Marty will
21 be elaborating on that showing the SSE and talking
22 through them.

23 Next slide, please. Okay. The goals of
24 the ESP site exploration were to use existing
25 information first as much as we could. There were 275

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 existing borings from the FSAR. Where the ESP site
2 is, there were about 20 borings within the ESP
3 envelope or immediately adjacent to it.

4 We started out with a significant amount
5 of subsurface information. In addition to that, we
6 planned out our new borings specifically to target
7 certain potential issues such as site variability,
8 either lateral differences in geologic deposits or
9 vertically.

10 Then also to use newer techniques. Since
11 the FSAR work was done there's been quite a few
12 advances to determine site shear wave velocity and
13 such. Our investigation program brought in that new
14 type of technology.

15 MR. HINZE: Jeff, if I might, the borings
16 that you're talking about, how were they distributed
17 over the area and what criteria were used in their
18 selection originally? When I looked at your structure
19 contour maps, for example, there's no data source
20 indicated on them so when does it know really the
21 validity of the contouring?

22 MR. BACHHUBER: Okay. In a couple slides
23 I'll show you the layout so we'll get to that.

24 Let's see. Ultimately the goal was to
25 develop the site profile that was then feed into the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 site response analysis. To collect sufficient
2 information for that, first we had to be satisfied
3 that we were capturing the site variability. Then
4 also we had to be satisfied that we had enough
5 laboratory test data and field data to characterize
6 each of the stratigraphic units underneath the site.

7 CHAIRMAN POWERS: Are you going to explore
8 how you determined what enough is?

9 MR. BACHHUBER: Yeah, we'll take a look at
10 that also. We'll discuss that in two more slides
11 where we have the boring location.

12 CHAIRMAN POWERS: I can wait.

13 MR. BACHHUBER: You had made a comment
14 earlier about the heat so I was directing the field
15 investigation during July/August right in the middle
16 part of the heat.

17 CHAIRMAN POWERS: I assume you have
18 offended your management in some undescribed way.

19 MR. BACHHUBER: But the heat didn't
20 compare to the fire ants. They were actually more of
21 an annoyance when we were out there.

22 Next slide, please. Okay. This map shows
23 the ESP site which is outlined right here. Then the
24 geologic conditions around the ESP site. The existing
25 power plant is shown right here and so the distance

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from the plant to the ESP is on the order of 500 to
2 1,000 feet. As George mentioned previously the ESP
3 site occupies an area that was use for a lay-down area
4 for construction of the existing plant site.

5 DR. WALLIS: So going back to my
6 colleagues question, it goes right out to the bluff.

7 MR. BACHHUBER: Yes. And so the edge of
8 the bluff is right here. You can see by the contrast
9 between the green formation and --

10 DR. WALLIS: You'll show us how stable the
11 bluff is.

12 MR. BACHHUBER: We'll take a look here.
13 There are a couple of failures that we have mapped in
14 the bluff and we will explain how we characterized
15 those.

16 MR. HINZE: As I recall, though, you said
17 you had a setback distance of 100 feet. How did you
18 arrive at that distance?

19 MR. BACHHUBER: I'll show you that also.
20 I think I have all that.

21 CHAIRMAN POWERS: We're just playing your
22 straight man. We got your instructions before you
23 presented.

24 MR. BACHHUBER: If I don't get to that but
25 that will be in a couple slides. The site here is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 within the Loess Hills geomorphic province. That is
2 all the area here in the tan shading. From the bluff
3 to the east are the Loess Hills. They rise on the
4 order of 60 to maybe 100 feet above the Mississippi
5 River flood plain. They are underlain by old alluvial
6 deposits in the Mississippi River when it had a former
7 different course further to the east.

8 DR. WALLIS: A hundred feet is a hill?

9 MR. BACHHUBER: Yeah, this is Mississippi.
10 A hundred feet is a good hill.

11 CHAIRMAN POWERS: In Texas it's a
12 mountain. They would probably put a ski resort on it.

13 MR. ROSEN: If they had any snow.

14 CHAIRMAN POWERS: They make snow.

15 MR. BACHHUBER: The Loess Hills are
16 underlain by these old alluvial deposits. They are
17 Pleistocene age and older. It was before the end of
18 the last glaciation. To the west of the bluff here so
19 all this material here are recent alluvial deposits in
20 the active Mississippi River Valley. These include a
21 variety of channel deposits out here more towards
22 river itself, interbedded sands, gravel, silt.

23 Then in green here over-bank flood
24 deposits so during flood stage finer sands and silts
25 are carried further onto the flood plain. However,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ESP site here, the edge is coincident with the top of
2 the bluff so it does not extend onto the river plain.
3 I'll be showing you a cross section somewhere in this
4 region right here so you can look at a section like an
5 elevation between flood plain and the site here.

6 We compiled existing information as a
7 start and then we did some independent mapping by site
8 recognizance looking at road cuts, aerial photographs
9 to update the existing maps. We also evaluated these
10 deposits here in the Loess Hills specifically to look
11 for evidence of any kind of deformation indicating
12 that there's been past instability at the site from
13 either faults or folding or subsidence.

14 MR. ROSEN: Could you show me again which
15 ones you are now referring to?

16 MR. BACHHUBER: Yes. I'm referring to all
17 the deposits that are from the bluff to the east so
18 from here east so it's all these materials in here.

19 MR. ROSEN: All of them?

20 MR. BACHHUBER: Yes. The materials are
21 relatively horizontal and they are embedded. They
22 extend away from the river so you can track the same
23 units from the bluff eastward. We'll show that in the
24 borings how we were able to define how the
25 stratigraphic layers are oriented.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HINZE: Jeff, let me play your
2 straight man once again. In your work for the
3 existing power plant was there any shallow or deep
4 seismic work to look at the possible presents of
5 faults or other structures?

6 MR. BACHHUBER: Yes, there was quite an
7 extensive program of refraction surveys. I don't
8 recall the exact footage but they had a whole network
9 of lines that were typically hundreds of feet long so
10 they canvassed pretty much the entire area including
11 the ESP site with those.

12 MR. HINZE: This was refraction and not
13 reflection?

14 MR. BACHHUBER: Refraction. The depth of
15 penetration was limited maybe to 50 to 100 feet,
16 somewhere in that range. The existing site borings,
17 the deepest extent, I think, we had some borings about
18 400 feet deep during the FSAR stage.

19 MR. HINZE: Did that get through the
20 Catahoula?

21 MR. BACHHUBER: Yes, it did. We'll show
22 some cross sections of that.

23 MR. HINZE: Has there been any thought in
24 order to validate this concern of the structural
25 stability of the immediate site? Has there been any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 thought given to reflection studies that might be more
2 discerning in higher resolution than the refraction,
3 the old refraction work?

4 MR. BACHHUBER: That is something that
5 could be entertained during a COL phase. At this
6 point we felt very satisfied with the boring
7 information along with the existing refraction
8 surveys. We had a real solid characterization of the
9 site.

10 Once a specific location and plant type is
11 selected, then it would be typical to integrate some
12 additional geophysical lines and whether we would use
13 refraction or reflection surveys kind of would depend
14 on exactly the layout that we have in the depths. But
15 it could be typically reflection surveys. You could
16 penetrate a lot deeper. However, the resolution often
17 in the upper materials isn't as good as in a
18 refraction survey. What we are real concerned about
19 is probably the upper most --

20 MR. HINZE: People would take exception to
21 that but so be it.

22 MR. BACHHUBER: But we would look at all
23 possible techniques and we did for this program also
24 just to make sure we're capturing the best way to
25 image and get the information we need.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 These deposits here were laid down by the
2 former Mississippi River. They are relatively
3 horizontal. They don't show evidence of faulting at
4 the site or in the immediate vicinity. We don't see
5 evidence of past subsidence holes from cause type
6 development, large scale landsliding that involves
7 large tracks of land around the ESP site.

8 We will look at a couple of those shallow bluff
9 failures that occurred about right here in the bluff
10 in this area here.

11 Next slide.

12 DR. WALLIS: Are you going to talk about
13 salt domes later on?

14 MR. BACHHUBER: We don't have that worked
15 into the slides but we did look at that.

16 DR. WALLIS: There are some that are
17 pretty close there.

18 MR. BACHHUBER: We compiled the
19 information regarding the location of those salt
20 domes. We looked for evidence of possible deformation
21 from other salt dome structures, either the existing
22 ones or possibly some deeper that haven't been
23 identified. We didn't see a deformation in the
24 substantial thickness of deposits that go back to the
25 Pleistocene episode.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HINZE: How did you accomplish that,
2 Jeff? How did you look at, for example, the
3 possibility of a deep salt dome underneath the
4 structure?

5 MR. BACHHUBER: That was by compilation of
6 existing information so we relied on those data
7 sources. Plus looking for deformation in the deposits
8 so by our surface map, or subsurface investigation
9 down several hundred, maybe down to 400 feet at the
10 site, we could say confidently that upper 400 feet of
11 material doesn't show deformation. That extends back
12 to the Pleistocene so we have a long record of no
13 disruption from salt dome formation at the site.

14 Okay. The investigation, the scope, of
15 course, included the initial data review which I've
16 covered. We drilled three new borings at the site.
17 Actually, we had four but two of the borings were
18 immediately adjacent to each other. We had to
19 terminate one of the holes early due to some problems
20 with drilling and then continued the hole immediately
21 adjacent to it. They combined it really to three
22 holes. They extended 140 to 200 feet deep. We also
23 performed four cone penetrometer soundings.

24 DR. WALLIS: How did you choose that
25 depth? What is magic about 140? That seems a little

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 shallow really. Why did you choose that?

2 MR. BACHHUBER: The depth ranges were
3 selected to cover any anticipated maximum foundation
4 depths plus an additional depth of the foundation
5 influence zone which would be around 140 feet for any
6 reasonable very deep embedded foundation.

7 We extended them either deeper to 200 feet
8 mainly for the site profile to look at velocities
9 deeper. We didn't extend our borings deeper than
10 that. It was a balance of the information that we
11 thought was adequate to characterize the site.

12 DR. WALLIS: The borings you just spoke
13 about that went to 400 feet, unless I misheard, and
14 you were looking for deformation, that's something
15 different?

16 MR. BACHHUBER: Those are from the
17 previous investigation.

18 DR. WALLIS: Previous investigation.

19 MR. BACHHUBER: Yeah, for the existing
20 plant site.

21 We performed down hole suspension velocity
22 surveys in three borings. These were using the most
23 modern techniques. We subcontracted this out and it
24 obtains a discrete shear wave and compressive wave
25 velocity profile. I'll have examples of those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 profiles of the site.

2 We performed both standard index testing
3 of the materials and we looked at foundation
4 properties and also compare our site materials to
5 those of the existing power plant site. Plus we
6 performed six dynamic soil tests using special
7 techniques, resident column and torsional shear
8 testing. That was performed at the University of
9 Texas. That was to look at the dynamic properties of
10 the soils. Then also we made some considerations for
11 what type of work would be performed.

12 DR. WALLIS: Dynamic properties means
13 liquefaction and that sort of thing?

14 MR. BACHHUBER: It's shear modules.

15 DR. WALLIS: Shear modules.

16 MR. BACHHUBER: Yeah, reduction and the
17 damping properties. So looking at the nonlinear
18 behavior of the soils to the seismic shaking and those
19 were fundamental parameters that were plugged into the
20 site response analysis.

21 DR. WALLIS: There's no liquefaction issue
22 at this site?

23 MR. BACHHUBER: No. We'll take a look at
24 that. We used standard penetration blow count data
25 and shear wave velocity data to look at liquefaction

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 potential.

2 MR. HINZE: Those were on cores? Those
3 dynamic tests were on cores?

4 MR. BACHHUBER: Yes, they were.

5 MR. HINZE: And how frequently did you
6 down the hole did you make the test?

7 MR. BACHHUBER: Some portions of the hole
8 were continuously sampled so we just stacked samplers
9 on top of each other. The widest space we had between
10 sample intervals was about five feet.

11 MR. HINZE: Was that predicated on
12 lithology? What controlled where --

13 MR. BACHHUBER: That was based on
14 lithology, review of the existing borings in the area
15 where we knew specific strata that we wanted to
16 target. Then also as we drilled successive borings we
17 used the information from the previous boring and also
18 the cone penetrometer soundings to help determine
19 exactly where we wanted to sample. We had kind of a
20 default sample interval, let's say, at five feet and
21 then we would add samples between those to target
22 specific horizons.

23 MR. HINZE: Thank you.

24 MR. BACHHUBER: Next slide, please. Okay.
25 Here's a map of the ESP site. You see this gray

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 circle here. The inner circle is a proposed power
2 block area so this is the envelope, the extent of the
3 ESP site where we would be putting a reactor, a new
4 plant. Then the out --

5 DR. WALLIS: Can you orient me? This
6 cafeteria looks as if it's suspended out over the
7 bluff somewhere.

8 MR. BACHHUBER: Okay. The edge of the
9 bluff extends something like this. It curves around.

10 DR. WALLIS: So there are more contours
11 than are shown here.

12 MR. BACHHUBER: Yes, so you don't see the
13 contours in here. The edge of the bluff is right at
14 about the back of the cafeteria building. Here is
15 north. Here's the scale. This is 200 feet right here
16 to give you an idea. This distance across I think is
17 about 1,200 feet, the diameter of the circle. We have
18 also identified an outer circle and we called this the
19 area of influence. This is 150 feet.

20 DR. WALLIS: Zone of influence.

21 MR. BACHHUBER: And we calculated that by
22 looking at the likely deepest depth of a foundation
23 looking at all the different types of configurations
24 that would be entertaining here. It's about 150 feet
25 deep below existing grade. We took that depth and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 projected it upwards at a one-to-one slope. If you
2 just take this circle if you could project it 150 feet
3 down and then take a one-to-one slope coming up from
4 that, that would meet this line here.

5 That's the zone where any kind of
6 foundation, excavation activities, any construction or
7 any influences from the plant foundation we believe
8 would be conservatively within that zone. That is
9 kind of a standard distance or relationship using a
10 one-to-one projection from a foundation so we came up
11 with that.

12 There's a couple features here to point
13 out. Here is the existing plant site. In yellow here
14 this feature right here and this feature right here,
15 these are previously swales that existed at the site
16 so even before grading for the existing plant site
17 there were some drainage swales and they were about in
18 size about 30, 40 feet deep below the ground surface.

19 During site grading they in-filled these
20 swales so now the outline of these swales also defines
21 the outline of filled ground. We will be looked at
22 this cross section B-B prime. Right here the cross is
23 a couple of these arms of these swales so we can look
24 at cross section what that fill ground looks like.

25 MR. HINZE: Excuse me, Jeff. Let me catch

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 up here. Is the site of the proposed or potential
2 plant anywhere within that innercircle?

3 MR. BACHHUBER: Yes. It could float
4 anywhere within the circle.

5 MR. HINZE: Okay. So it can go through
6 the filled areas.

7 MR. BACHHUBER: Yes.

8 MR. HINZE: Thank you.

9 MR. BACHHUBER: Now, the depth of the
10 foundations will be considerably below the depth of
11 the fill in those areas so will be much greater than
12 the depth of the fill.

13 MR. HINZE: And that's 80 feet or
14 something like that?

15 MR. BACHHUBER: Yeah. And we'll see that
16 in this section. I think it's my next slide.

17 DR. BONACA: Before that, on slide 28 I'm
18 just curious to know what is the intake structure for
19 the existing plant?

20 MR. BACHHUBER: I'm sorry? Again?

21 DR. BONACA: What is the intake structure
22 for the existing plant?

23 MR. BACHHUBER: The existing plant's Unit
24 1, which is right here. Unit 2, which was not built
25 out, is adjacent.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. BONACA: I understand that. I'm
2 asking for the intake structure.

3 MR. BACHHUBER: In fact, there is no
4 intake.

5 MR. ZINKE: That was a discussion over the
6 swales on the river.

7 DR. BONACA: So, okay.

8 MR. BACHHUBER: I'm sorry. They said
9 intact.

10 MR. ROSEN: I think, Mario, you weren't
11 here when we talked about this.

12 DR. BONACA: All right. Sorry.

13 MR. BACHHUBER: All right. This slide
14 also shows the location of the borings. The ESP
15 borings are in black here so this is boring 1, 2, and
16 3. Then our four cone penetrometer tests are the
17 black triangles here. You can see they are
18 distributed across the ESP site. We also specifically
19 targeted these in-filled swales here. We wanted to
20 get some tests on those.

21 In blue are the existing FSAR borings. So
22 before we cited our borings we took a look at the
23 layout, the distribution of the existing borings. We
24 wanted to fill in gaps plus also target specific areas
25 where we thought there may be different site

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 conditions so we're capturing the site variability.

2 MR. HINZE: How did you determine that
3 site variability, from the preexisting drill hole
4 information?

5 MR. BACHHUBER: Yeah. Yes. By compiling
6 the existing bore hole data. Then after a site
7 investigation we prepared a series of cross sections
8 shown here, A-A prime, B-B prime which we'll look at
9 and C-C prime to look in sections how those deposits
10 in the different strata varied across the site.

11 MR. ROSEN: And what is that feature, that
12 north/south feature? That looks like a rectangular
13 feature. It says "cut slope" on it.

14 MR. BACHHUBER: Oh, this one right here.

15 MR. ROSEN: Yeah.

16 MR. BACHHUBER: Okay. This is a cut slope
17 and so the ESP site spans two flat existing pads.
18 There is a lower pad right here which is on the east
19 side of this cut slope so here is a cut slope. East
20 over here this is graded flat equivalent to the
21 existing plant grade, 132, 134 feet. Then this cut
22 slope rises, I think, about 20, 25 feet to an upper
23 pad right here. This upper pad is at about 154, 156
24 feet.

25 MR. ROSEN: So it's actually higher on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 west than it is on the east?

2 MR. BACHHUBER: Yeah, it is. So it rises
3 to the west and then here is the top of the bluff
4 right here. It's actually a higher pad right where
5 the bluff is at. The plan is to make the new plan at
6 ESP site at the same plant grade as the existing power
7 plant so that would involve grading out this material
8 here. All this portion from the cut slope to the west
9 would be excavated down up to about 25 feet or so.

10 Okay. Here is the two slumps I had
11 referred to before. Here is one right here. There is
12 another right here. These slumps have developed in
13 the bluff. They involve the superficial soil. They
14 show up on looking at topography pre-plant excavation
15 and post-plant development. It looks like these
16 formed possibly before the site was graded. In any
17 case, we don't see evidence of recent movement of
18 these, any post-plant construction movement.

19 MR. HINZE: Are they associated with
20 springs?

21 MR. BACHHUBER: We didn't see any springs
22 but we didn't have a chance to really clear all the
23 vegetation. It was very vegetated where these occur
24 so it is possible that there are some water zones,
25 some springs that are causing these failures. This is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a typical type of mechanism that's eroding the bluffs
2 regionally.

3 MR. HINZE: But that gives you a mechanism
4 for this and one where you can look at the possibility
5 of future slides.

6 MR. BACHHUBER: Yes, that's true. For the
7 COL phase investigations once the location is figured
8 out, let's say right here for an ESP for the new plant
9 site, additional investigations would be specifically
10 targeted to look at the influence of bluff stability.
11 As I'll show in the cross section, next slide, here is
12 cross section B-B prime and the extent of the ESP
13 site, these gray zones right here. I'm outlining what
14 we showed on the map as the outer perimeter circle
15 which includes the area of influence and this zone
16 right here --

17 MR. HINZE: Excuse me. Tell us what those
18 colors represent, please.

19 MR. BACHHUBER: Okay. So, anyhow, the
20 proposed ESP site spans right here. Here is the
21 bluff, here is the Mississippi River plain. Now, the
22 different colors that are shown here are the major
23 stratigraphic units underlying the site. We have four
24 primary units. The upper unit right here is in
25 yellow.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 This is loess soils. They are Pleistocene
2 loess deposits that were deposited at the end of the
3 glacial period so as the continental glaciers receded
4 you have a lot of ground-up material that was then
5 blown down the Mississippi River Valley and deposited
6 within the Loess Hills province. They extend on the
7 order of about 40 feet thick up to maybe 60 to 80 feet
8 thick.

9 MR. HINZE: But you are characterizing
10 that as a single lithologic unit and it really isn't.
11 Is it? I mean, there are variations within the loess.

12 MR. BACHHUBER: Yeah. Within every one of
13 these units there is actually discreet little smaller
14 beds that are possibly on the order of inches to feet
15 thick. But each of these units has a distinct range
16 of properties either from a distinct geologic process
17 that deposited them or a distinct age or a distinct
18 geotechnical property.

19 Even though this Unit 2, for example, is
20 actually comprised of a whole series of loess separate
21 different layers, in total they behave very similar.
22 They are all related to wind deposition of the same
23 type of material so the material type is the same, the
24 consistency is the same and the geologic --

25 MR. HINZE: We know there are perched

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 water tables within the unit so there must be a
2 difference in the permeability. That gives us a
3 signal that there are variations. Right?

4 MR. BACHHUBER: Yeah, there can be. It
5 varies locally. For instance, at our site in all
6 three of our borings the loess looked remarkably
7 similar. We had a hard time even picking out
8 different strata. In other areas it's very obvious.
9 You can see real nice layering. But even though it
10 was very subtle there are some strata within the loess
11 but they don't appear to be significantly different
12 either permeability wise or geotechnical foundation
13 property wise.

14 Now, a bigger contrast is between the
15 loess materials here and the underlying alluvium.

16 DR. WALLIS: What is 2a?

17 MR. BACHHUBER: 2a is the slump deposits
18 so this is in the Mississippi River bluff so this is
19 a portrayal of the land slide materials.

20 DR. WALLIS: This is 2 which has moved.

21 MR. BACHHUBER: Correct. Yes. It's
22 derived from 2 but it's been translated by the
23 slumping movements.

24 DR. WALLIS: This map is derived from --

25 MR. BACHHUBER: This cross section?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: -- soundings or something?

2 MR. BACHHUBER: Yes. We developed this
3 cross section on the basis primarily of bore hole data
4 so these vertical lines here --

5 DR. WALLIS: You have very few bore holes
6 and you've got a lot of detail.

7 MR. BACHHUBER: Well, each of these is a
8 boring. This is a series of CPT soundings.

9 DR. WALLIS: And then you fill in between
10 them?

11 MR. BACHHUBER: Yes. Then we extrapolate
12 between.

13 DR. WALLIS: Oh, okay.

14 MR. BACHHUBER: And what we also do --
15 could you go back one slide, please? So we are just
16 looking at cross section B-B prime and the control for
17 that cross section are the borings that are nearby the
18 cross section line.

19 We also have all these other borings and
20 by constructing a series of cross section lines we
21 also look where the cross sections intercept to give
22 us more control. We actually have brought in a lot
23 more bore hole data than you see immediately on that
24 cross section to control them.

25 Forward, please. Other units. So we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 discussed the upper loess. Underneath it the orange
2 Unit 3 are old alluvial deposits of the Mississippi
3 River. They are Pleistocene in age.

4 DR. WALLIS: So if there were a salt dome
5 at 200 feet or something somewhere off the map, would
6 you know it was there or not?

7 MR. BACHHUBER: You would tend to see
8 deformation but the salt domes are much deeper.

9 Jim do you recall?

10 MR. HENGESH: Like 400 feet.

11 CHAIRMAN POWERS: Microphone.

12 MR. HENGESH: This is Jim Hengesh. The
13 salt domes, I believe, are around 400, 480 feet deep
14 and the closest one is 8.5 miles from the site. It
15 does not even fall in the five-mile site area.

16 MR. HINZE: Jim, have there been gravity
17 surveys of the site which might help to elucidate the
18 presence of salt domes and their structure?

19 MR. HENGESH: I'm not aware of any gravity
20 surveys. There were geophysical surveys conducted for
21 the --

22 MR. HINZE: The density of salt is
23 2.152150 and your surrounding materials are 2,500,
24 something like that. This makes a good density
25 distribution for gravity surveys. I know there's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 gravity data there. I have not seen it.

2 MR. BACHHUBER: Yeah, I think that is how
3 a lot of the existing salt domes were mapped and then
4 with control from borings and such.

5 MR. HENGESH: Right. And there have been
6 a lot of regional investigations of these salt
7 deposits. Obviously the petroleum industry is very
8 interested in the distribution of the salt.

9 MR. HINZE: Really if you picked up some
10 gravity data from the National Geophysical Data Center
11 which would be almost of sufficient detail, you could
12 tell very quickly where the nearest salt dome is.

13 MR. HENGESH: We do know that the nearest
14 salt dome is 8.5 miles away.

15 MR. HINZE: That you know about.

16 MR. HENGESH: Yes. And that there is
17 evidence for no salt domes closer than that.

18 DR. WALLIS: Are these gravity surveys
19 routinely required by the NRC since they are a tool
20 for figuring out what's there? Are they used or not?

21 MR. HINZE: I can't believe that one would
22 not use a gravity survey both on a regional and a
23 detailed basis in looking at the geotechnical aspects.

24 DR. WALLIS: Can we ask the staff if they
25 know about this? There seems to be a lot of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 consultation among the staff.

2 MR. BACHHUBER: Yeah, it's typical to have
3 regional gravity maps. As part of our initial data
4 compilation we compiled all the existing information.
5 I know for the existing salt dome maps they relied
6 heavily on the current higher resolution type gravity
7 surveys. We didn't have any specifically performed
8 for the site so we relied on what was existing.

9 DR. WALLIS: Does the staff look at
10 gravity surveys?

11 MR. LI: We did not look at any -- acquire
12 any gravity data in this particular ESP process here,
13 review process.

14 CHAIRMAN POWERS: That begs the question.
15 The question is why didn't you ask for the gravity
16 surveys?

17 MR. LI: Sorry. My name is Yong Li. I'm
18 from the Division of Engineering. The reason why we
19 did not acquire the gravity data because the applicant
20 did a lot of the boring data and also included some
21 refraction data. We have a good understanding of the
22 subsurface condition.

23 DR. WALLIS: Down to a certain depth.

24 MR. HENGESH: This is Jim Hengesh. They
25 are in the process of reviewing the geophysical, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 geological, and the seismological data for the site.
2 We went through a screening process that involved the
3 detailed review of the existing information. As we
4 moved closer and closer to the site, we looked in
5 greater detail at that information.

6 In this area we're in the northern salt
7 basin and there are extensive publications on the salt
8 deposits in this area. The locations of the salt
9 domes are well known on a regional basis. Again, the
10 closest one that is mapped and included in the
11 published literature is the Galloway Dome which is 8.5
12 miles from the site.

13 MR. ROSEN: I'd like to come back to what
14 we know about it. This map, Section B-B, does not
15 really give me a lot of confidence. That western edge
16 of this triangle that would be left after the full
17 maximum foundation excavation had been completed would
18 be stable. Now, it seems like you've pushed this site
19 all the way as far west as you possibly could leaving
20 almost a sliver of ground left. Why would you do
21 that? What gives you confidence that's enough to
22 restrain the foundation and not cause -- because of
23 the pressure of the foundation cause more pressure on
24 the bluff?

25 MR. BACHHUBER: Well, the foundation

1 elevations in order to achieve the bearing capacity
2 and the shear rate of velocity required for stability
3 of the foundation, they will be at least this deep and
4 possibly this deep. Even at the shallowest depth if
5 you project it, it's below the toe of the bluff.

6 Even if we completely lost this bluff, it
7 wouldn't influence the stability of the foundation.
8 It would have some potential implications for soil
9 structure interaction and that has been discussed
10 previous in some of our responses to RAIs. That would
11 need to be specifically looked at.

12 If the plant is pushed to this outer edge,
13 then for site response SSI type analysis, additional
14 borings and characterization is required here. But
15 for plant stability we were comfortable pushing it to
16 this point because we are well below any influence
17 from future slumping with respect to potentially
18 destabilizing the foundation.

19 MR. ROSEN: That's if the bluff stays
20 where it is now but over the next 60, 70 years it's
21 hard to predict what the bluff will do.

22 MR. BACHHUBER: One thing also you have to
23 keep in mind is this is exaggerated four times so the
24 actual one-to-one cross section, this is much less
25 steep than it looks here. It would actually be more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 flat something like this here. Do we have those
2 loaded up, George?

3 MR. ROSEN: That might be helpful because
4 just looking at this you get the impression that I
5 have. I must admit I haven't done the calculations
6 and wouldn't know how to do them but it looks like
7 just from a layman's point of view a rather --

8 MR. BACHHUBER: We also looked -- we do
9 have some boring control here, right here, where we
10 looked at the strength of these materials. Also our
11 foundation requirements forced us to go a certain
12 depth. Once we got into those deposits they are dense
13 and stable.

14 Even if you had a retreat of this bluff in
15 the future, let's say something like this, again, our
16 foundation bearing zone is down here so it's not
17 affected. What you may have is some cracking coming
18 up towards the wall of the structure on the ground
19 surface but it wouldn't, again, affect the stability
20 of the foundation.

21 MR. ROSEN: You would know about it
22 because you would lose your cafeteria and you wouldn't
23 be able to eat lunch.

24 MR. BACHHUBER: You would have a warning,
25 yeah. Also, another thing that factored in here is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 looking at the amount of retreat that has occurred
2 during the past slumping event. A typical single
3 event retreat would be on the order of 20 feet, 30
4 feet or so just based on how far they work back into
5 the existing bluff.

6 This zone of 150 feet provides a very
7 substantial warning period. It would take a number of
8 slumps or a real significant retrogressive type
9 failure to work back to the facility which would give
10 you time to address it, to take a look at the
11 situation and do any kind of measures you may need to.
12 Again, that would just be influencing superficial
13 nonsafety related type structures.

14 Other units, I haven't completed my
15 profile yet. So we have the upper loess. We have No.
16 3, or the old alluvial deposits from the former extent
17 of the Mississippi River. Below those here in 4 these
18 are very old alluvial deposits. Again, likely from
19 the Mississippi River but these are Pliocene to
20 Pleistocene in age so very old type deposits.

21 Even deeper yet, which we don't have on
22 this cross section because their borings didn't extend
23 to it, but on other cross sections with deeper borings
24 we had what we called the Catahoula claystone which is
25 a semi-indurated material, a very weak soft rock type

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 material. That's our basic section underneath the
2 site. To the west we also have the Mississippi Valley
3 alluvium but that doesn't come into play because they
4 don't extend underneath the site.

5 MR. ZINKE: I know timing wise there is a
6 lot that can be talked about in the seismic area. I'm
7 not sure how best you want to use the time.

8 CHAIRMAN POWERS: What I'm going to do we
9 are going to get -- we are going to struggle through
10 this. Once we've gotten to slide 36 we are going to
11 take a break and then we'll map out strategies after
12 that. The difficulty is this. If we don't ask these
13 questions now, they get asked in the full Committee
14 and our time constraints there are much, much worse.

15 DR. WALLIS: It looks to me as if the
16 applicant is going to take the whole morning for this
17 presentation.

18 CHAIRMAN POWERS: We'll develop a strategy
19 on that.

20 DR. WALLIS: There's no problem with going
21 into the afternoon.

22 CHAIRMAN POWERS: No, there is no
23 constraint on us.

24 DR. WALLIS: I don't quite understand why
25 the schedule says we are going to finish this morning.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN POWERS: Because we had no
2 further information. You see, we did what the
3 applicant is doing. We took our annual -- our
4 previous exercise and developed the schedule from
5 this. You can see how bad of an idea that is
6 projecting the future from the past. We'll let you go
7 ahead. The problem, of course, you face is the USGS
8 is unconstrained by the past.

9 MR. BACHHUBER: Okay. I have two more
10 slides, I think, in my eight-minute allotment. Okay.
11 This is, again, a summary of the site stratigraphy,
12 the upper loess, upper complex alluvium. This is
13 Pleistocene Mississippi River old alluvium. The older
14 bold alluvium, which is the Pleistocene. Here is a
15 Catahoula claystone.

16 On the left here I'm showing the profile
17 of shear wave velocity so this is from our bore hole
18 velocity surveys and they extended comparable to the
19 deepest boring about 240 feet deep. I have overlaid
20 the data from the three borings together here so we
21 can look at the variability of shear wave velocity
22 from the three points that we explored across the
23 site.

24 The left hand series you can see a blue
25 line, red line, and black line. These are all the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 shear wave velocity profiles laid on top of each
2 other. What we have here on this scale here is
3 velocity in thousands -- yeah, thousand feet per
4 second so here is thousand, 2,000, 3,000, 4,000,
5 5,000, 6,000, 7,000, 8,000 feet per second.

6 On this ornate I have on the left depth
7 zero feet to 240 feet. You can see how the velocity
8 is changing with depth. The surveys we use give you
9 almost a continuous profile of velocity. Actually,
10 it's sampled about every three feet through the bore
11 hole so you get a nice continuous survey of the
12 velocity.

13 Looking at the left hand column which is
14 shear wave velocity, and then on the right hand side
15 these are compressive wave velocities. They have a
16 kick-out right here. By superimposing them you can
17 see they all cluster pretty close together. There is
18 some variability, for instance, right here. You can
19 see one of the surveys has given you a much higher
20 velocity than over here.

21 On average they are lining up pretty well.
22 This is actually astounding. I have never had such
23 good replication between bore holes at a site. The
24 stratigraphy in the uniformity of materials within
25 each of the main stratigraphic units is pretty good,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pretty uniform under the site. This kick-out here,
2 compressive wave velocity, is caused by the
3 groundwater table.

4 As soon as we hit the groundwater table
5 our compressive wave velocities are increasing but not
6 the shear wave velocities. It's almost transparent
7 the water to the shear waves. So we use this
8 information here then to compile our site velocity
9 survey for the ground motion analysis.

10 A couple of other things we did here is we
11 looked at these profiles to select where we wanted to
12 submit samples. Here is an example of how we selected
13 samples, at what depths and why. Here we are showing
14 where the samples were taken that we had processed for
15 the dynamic properties analysis at the University of
16 Texas. We have some here corresponding to the deeper
17 old alluvium, some up here in the alluvium, and some
18 up here in the loess. We have properties from each of
19 these materials.

20 Next slide. Could you hit it again.
21 Okay. Then to develop our final velocity profile we
22 combine the data from the lab testing with our
23 velocity survey prints, velocity profiles, and took an
24 average. This was picked by a couple of different
25 processes. We had two different groups do this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 independently to come up with their referred average
2 velocity profiles. Then we combined the two to select
3 the final one that was carried forth in the analysis.

4 What I'm showing here is the portion of
5 the velocity profile in the loess deposit so from zero
6 to about 75 feet deep. Then the corresponding test
7 results. What I'm showing here I know is too small to
8 red but it's just an example. The upper plot is shear
9 modules reduction and lower plot is a plot of damping.
10 These are standardized curves that have been developed
11 by EPRI for stand type materials.

12 We took our actual test data overprinted
13 them on the EPRI curves to select the final curve that
14 we used for the analysis. What we found is at the
15 site the materials are very consolidated. They are
16 all Pleistocene or older and because of their geologic
17 age they have had time to consolidate. Because of
18 that they actually are quite dense.

19 For instance, for the loess what we found
20 from our test data is that it would actually
21 correspond to the EPRI curve for soils that are
22 between 125 and 250 feet deep even though they extend
23 from zero to 75 feet. We are seeing that aging
24 effect. In order to appropriately model these
25 materials in the response analysis, we have selected

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this EPRI curve.

2 Could you hit the next button? We did the
3 same process -- we skipped one. Okay. For the
4 alluvium we took our velocity survey for the interval
5 that we encountered the alluvium and matched it to the
6 lab test results. Again, for the depth range of the
7 alluvium 75 to about 150 feet we actually were
8 corresponding to the EPRI curves 250 to 500 feet deep.

9 The last button. Here is where the old
10 alluvium and Catahoula formation. This was a
11 fundamental input that was put into the site response
12 analysis that Marty will be presenting. That's my
13 last slide. Let's check. The conclusion slide. I
14 can't forget this.

15 Okay. So in conclusion from our site
16 geologic and geotechnical characterization we found
17 positive evidence for no significant geologic hazards.
18 We say that because the geologic deposits of strata we
19 were able to trace continuously and undisrupted
20 underneath the site.

21 We didn't see any geomorphic evidence of
22 past subsidence, vaulting, other type liquefaction.
23 We looked at the bore hole data and looked at the
24 standard penetration test data, the shear wave
25 velocities, plus the age of the deposits with respect

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to the potential for liquefaction.

2 Really even just because of the age of the
3 deposits of Pleistocene and older we believe that the
4 liquefaction hazard is low. Over 90 percent of
5 historic liquefaction has occurred in Pliocene
6 deposits or artificial fill placed over Pliocene
7 deposits. Ours are old consolidated sediments.

8 In order to achieve foundation capacity,
9 bearing capacity and velocity that will be required
10 for plant design, we will have to extend foundations
11 below the upper loess which is less dense material and
12 into at least the Pleistocene alluvium, possibly into
13 the Pliocene Pleistocene deeper alluvium.

14 Now, the deeper alluvium is coincident
15 with what was used for the existing plant site so that
16 would be an equivalent type of -- an equivalent strata
17 to the existing plant which has had very good
18 performance. The existing plant site in similar
19 materials here has shown no evidence of settlement or
20 any kind of adverse performance.

21 Groundwater. The foundations to get the
22 depths we need for the capacity they will extend below
23 the groundwater table. Groundwater dewatering/control
24 procedures will be required during excavation. They
25 will be similar to what was used for the existing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 plant site that also was extended below the
2 groundwater table so typical construction procedures
3 with subpumps, maybe some predrains would be expected
4 to develop the ESP site.

5 With that, I am going to turn the pointer
6 over to Jim Hengesh who will take us through the
7 source characterization.

8 CHAIRMAN POWERS: No, we're going to stop
9 and we are going to take a break until 5 minutes until
10 11:00.

11 (Whereupon, at 10:41 a.m. off the record
12 until 10:57 a.m.)

13 CHAIRMAN POWERS: Let's come back into
14 session. What I would like to do is devote no more
15 than the next 35 or 40 minutes to the applicant's
16 presentation. I would like to get quickly through the
17 seismic analyses and get onto the issues where there
18 are additional information being requested by the
19 staff and contentions.

20 I have assured the speakers that the
21 Committee as a whole is very aware of the
22 probabilistic seismic hazard assessment. Individual
23 members have questions about that. We do have an
24 expert on the Committee who would be glad to instruct
25 you in the details of that methodology.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Were he here, he would undoubtedly want to
2 interrogate the speakers in some depth with that so
3 they can appreciate his absence. With that, I'll turn
4 it back to you, George.

5 MR. ZINKE: Jim.

6 MR. HENGESH: Great. My name is Jim
7 Hengesh. I'll be talking about the green part of the
8 flow chart where we develop the information about the
9 seismic source characterization which is used as input
10 to the probabilistic seismic hazard assessment.

11 Next slide, please. Developing the
12 seismic source characterization we followed the
13 guidance provided in NRC Regulatory Guide 1.165. In
14 accordance with that guidance we adopted the EPRI 1986
15 methodology to develop the safe shutdown earthquake
16 ground motion for the ESP site.

17 Next slide. In this process we went
18 through a thorough review compilation and reviewed the
19 geological, seismological and geophysical data for the
20 area within about 200 miles of the Grand Gulf site.
21 We then also evaluated an area to the north that
22 includes New Madrid Seismic Zone. That actually
23 extends up close to 400 miles from this site.

24 In the course of updating this information
25 on the seismic characteristics and ground motion

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 characteristics, we identified three changes that we
2 would have to make to the EPRI source model and the
3 EPRI methodology. Those included adding new
4 characteristic earthquakes for the New Madrid Seismic
5 Zone.

6 We identified a new seismic source
7 referred to as the Saline River seismic source. We
8 added that to the model. We added new ground motion
9 continuation models that were developed during the
10 EPRI 2003 ground motion study.

11 Next slide. Just quickly, the Grand Gulf
12 site is located here in west central Mississippi.
13 This is the 200-mile radius around the site and a
14 blow-up of the site over here with a 25-mile radius
15 and a five-mile radius. Again, we are on left edge of
16 the Loess Hills province here and the Mississippi
17 alluvial valley.

18 Next slide. This is a geologic map of the
19 site region in the Mississippi alluvial valley. What
20 it shows is that this area has had a tremendously long
21 history of stability and geologic development. These
22 deposits you see around the edges of the valley
23 southward toward the Gulf at very low dips of like a
24 half a degree to one degree. The extend back to
25 Cretaceous and Jurassic time period, a 100 million

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 years, 200 million years.

2 The Grand Gulf site is right here and I'll show
3 you this north/south cross section through the site
4 vicinity.

5 This is the north/south cross section
6 going down past the site here. This is exaggerated,
7 nearly vertically exaggeration 20 times. It looks
8 like there is a fairly good dip here that has been
9 exaggerated to be able to depict this stratigraphy.

10 What we see and what is really important
11 here is that we have a lot of data going across this
12 part of the Gulf Coastal Plain and the information
13 from all of these borings show that for the Grand Gulf
14 side, which is located about here on the section, we
15 have upwards of 10,000 feet of undisturbed sediments
16 so we have a long history of geologic stability in
17 this area and a lot of information that provides
18 positive evidence for no faulting and no deformation
19 in the site vicinity. Next slide.

20 MR. HINZE: Jim, I noticed that your cross
21 section, I assume is controlled by your well level
22 control. You are about 30 miles away from the Grand
23 Gulf site. How would that profile change if that were
24 drawn north/south through the Grand Gulf site?

25 MR. HENGESH: It would change very little

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 actually because we are very close to the center --
2 let me back up two slides. We are very close to the
3 center of the Mississippi alluvial valley here. In
4 fact, this line coming down through here shows that
5 the axis of this syncline.

6 We are over here fairly close to the axis
7 of that syncline and our site is there almost on the
8 axis. I suppose there might be some subtle changes in
9 the dip. But in terms of the gross stratigraphy and
10 the continuity of the deposits I would say would be
11 very, very similar.

12 MR. HINZE: So the structures would be
13 much the same for localized things like the Jackson
14 Dome and the salt domes?

15 MR. HENGESH: That's correct. As you
16 mention the salt domes, I would just like to correct
17 one comment I made during the previous session. The
18 closest salt dome to the site is referred to as the
19 Bruinsburg Dome and it is actually 6.5 miles, not 8.5
20 miles.

21 So if we could go back then. This is a
22 compilation map that shows the major structures in the
23 site region. The area outlined here is the edge of
24 the Gulf Coastal Plain. This is divided into two main
25 structural areas, in the north the Mississippi

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Embayment and then in the south the Gulf Coast Basin.

2 The main structural tectonic features
3 include the Realfoot Rift up here in the Mississippi
4 Embayment and the New Madrid Seismic Zone, the
5 Ouachita Orogenic Belt which goes up into the
6 Appalachian Mountains over here. Two inactive fault
7 zones, the Southern Arkansas Fault Zone and the
8 Pickens Gilbertown Fault Zone.

9 And then the area of active growth faults
10 are the Gulf margin normal faults down along the Gulf
11 Coast. Again, this is the axis of the Mississippi
12 Embayment syncline structure. It's not a tectonic
13 structure. Just say a growth structure. Next slide,
14 please.

15 MR. ROSEN: Excuse me. What did you just
16 refer to was not a tectonic structure?

17 MR. HENGESH: The actual syncline. Within
18 the Gulf Coastal Plain and the Mississippi Embayment
19 the deposits here on the west side dip very gently
20 about a half a degree to a degree towards this axis
21 here. On the east side they did dip very gently in
22 this direction.

23 This is a crustal down-warping that is due
24 to sediment loading within the Gulf Coast area, within
25 the Mississippi area. There is so much sediment

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that's been dumped in here over such a long period of
2 time that it has actually depressed the crust.

3 MR. ROSEN: Is that what's been causing
4 the Gulf Margin Normal Faults as well?

5 MR. HENGESH: This would be in terms of
6 sediment loading, yes, it is. These faults are
7 forming because they are right on the active delta
8 front so there's nothing holding those sediments back.
9 They are pushing very young loose sediments out in to
10 the Gulf. As the front of that delta collapses you
11 get gravitational almost like mega landslides. That's
12 really what these structures are.

13 This map shows the distribution of those
14 same major tectonic features, Reelfoot Rift. We have
15 lots of those in the Gulf Margin Normal Fault. Here's
16 our site, 100-mile, 200-mile radius circles, and the
17 historical seismicity that has occurred within this
18 part of the United States. The blue at the centers
19 are events recorded between 1627, obviously historical
20 reports, and 1984, and then the reddish color
21 epicenters are 1985 to 2004 seismicity.

22 We compared those two different seismicity
23 data sets to see if there had been a change in the
24 seismicity rates or locations of our plates from the
25 original EPRI study to the current situation. We see

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 really no noticeable change. One of the really
2 important things to point out here is that within 100
3 miles radius of the Grand Gulf site there have only
4 been three earthquakes recorded in the fire circle so
5 it's a very, very quiet, seismically quiet region.

6 MR. ROSEN: The closest one being?

7 MR. HENGESH: Vicksburg, I guess, 25, 30
8 miles away. One near Jackson and one out here in the
9 western edge of the 100-mile radius.

10 Next slide. So based on our review of all
11 that data, we updated the seismic source model for the
12 site. We evaluated the geometry of seismic sources,
13 faults and aerial sources in the region. We evaluated
14 the maximum earthquake magnitudes and earthquake
15 recurrence intervals and developed or updated the EPRI
16 seismic source model to -- I'm sorry. We developed
17 the seismic source model for our site that included
18 the 200-mile radius circle plus the New Madrid Seismic
19 Zone so standing up over 350 miles to the north.

20 Next slide. What we found in the review
21 of all of this information is that the EPRI source
22 model is acceptable for most of the region that we
23 considered with a couple of exceptions. We added a
24 characteristic earthquake model for the New Madrid
25 seismic zone. We added the New Saline River and we've

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 replaced the ground motion continuation model.

2 Next slide. This map shows the Grand Gulf
3 site and the location of the New Madrid Seismic
4 sources. This is the area affected by the 1811, 1812
5 earthquake sequence. We've named our three main fault
6 segments up here, Blytheville Arch, Reelfoot Rift, and
7 the East Prairie Fault. To pick our distances we took
8 the closest approach for each of these fault segments
9 and included those closest approaches in our source
10 model.

11 These lineaments here represent the
12 locations of the Saline River source that we included
13 in the model. In characterizing these sources we used
14 the logic tree type of approach.

15 Next slide, please.

16 MR. ROSEN: Can I ask a question?

17 MR. HENGESH: Sure.

18 MR. ROSEN: When you said you identified
19 the closest approach of the New Madrid Zone, how do
20 you know that was the closest approach?

21 MR. HENGESH: There has been a lot of
22 detailed geological and geophysical work done up in
23 this area to constrain the locations of possible
24 structures that produce those earthquakes in the
25 subsurface. The Blytheville Arch is a recognizable

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 structure based on geophysical data in the subsurface.
2 This would be the southern most extent and a
3 conservative interpretation of the extent of that.

4 So by taking the closest approaches as the
5 distance measured to the site, it actually is a
6 conservative approach. An alternative would be to let
7 that earthquake float anywhere along that line which
8 means it could also occur and we could have taken the
9 point up here. To be conservative we put that
10 earthquake at the closest possible approach.

11 MR. HINZE: Jim, a couple of questions.
12 Some of the things that have happened since the EPRI
13 study are kind of interesting and one is certainly the
14 much greater acceptance of far-field triggering as a
15 result of landers earthquake, etc. In your evaluation
16 did you consider at all far-field triggering?

17 MR. HENGESH: We didn't because the type
18 of model that we included. By developing a
19 characteristic earthquake, it means we are saying that
20 an event on that southern part on any one of those
21 three points will occur within a certain time period.
22 There are a lot of data now.

23 There is a lot of Paleoseismic data that
24 have been developed that show a repeat of 1811, 1812
25 type earthquakes going back several cycles. When we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 look at that record of earthquakes, we see that there
2 is a range between 300 and 900 years roughly.

3 MR. HINZE: I understand but the 1811,
4 1812 earthquakes, my understanding is that they have
5 -- that the most recent evidence indicates that they
6 may have triggered earthquakes elsewhere in the
7 midcontinent region. Is that correct? The evidence
8 is just starting to come in but is there any evidence
9 that bears on that?

10 MR. HENGESH: No. I'm sorry, I don't have
11 any information on that.

12 MR. HINZE: Let me ask another question
13 then. I know when we did the EPRI study I wish we
14 would have had the Saline River Seismic Zone as part
15 of our bag of tools. But I'm curious, that's a
16 strange lineament. That's a strange strike to the
17 lineament.

18 It doesn't seem to be unless we're totally
19 off in what the Quachita looks like underneath the
20 Mississippi Embayment, the strength direction of the
21 lineaments do not correlate with preexisting faults in
22 the area. In your analysis of this is there any
23 control upon that strike of the lineaments and the
24 occurrence of earthquakes, for example, along the
25 Saline River up there at the northern end?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HENGESH: Right.

2 MR. HINZE: You know where I'm going.

3 MR. HENGESH: Yes, I do. I think the
4 first point I would make is that these are quite
5 generalized lineaments so they are generalized
6 locations where those features are. But they do --

7 MR. HINZE: Excuse me but you can't move
8 those very far. You can move those lineaments very
9 far. Right?

10 MR. HENGESH: Right. They coincide with
11 the Arkansas River, the Saline River, and the Quachita
12 River. They generally follow those trends.

13 MR. HINZE: Right.

14 MR. HENGESH: That is the orientation that
15 they have. I speculate that they may be actually
16 related to extensions of Reelfoot Rift beneath the
17 Quachita and they could be analogous to Reelfoot Fault
18 type of trending structures.

19 MR. HINZE: That's a cross fault in the
20 Reelfoot.

21 MR. HENGESH: But we don't know what is
22 driving this and the research is still ongoing and
23 probably will be for some time.

24 MR. HINZE: So those could be much longer
25 than actually indicated there because we don't have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 any control on them. Is that right?

2 MR. HENGESH: No. I don't believe that
3 the geomorphic evidence would support extending them
4 beyond where they go. We believe that this is a
5 conservative interpretation of the extent of where
6 those features could go.

7 MR. HINZE: It's kind of interesting that
8 the liquefaction areas are at the extreme ends. How
9 do you place any credence on that?

10 MR. HENGESH: That is where they are and
11 the work is ongoing to look elsewhere. I suspect that
12 researchers will continue to work out here in this
13 area between the 1811, 1812 liquefaction field and
14 this area down here will -- my guess is that there
15 probably are more liquefaction fields up there.

16 MR. ROSEN: I'm not sure I understood the
17 discussion between you two gentleman that just
18 concluded. But what I took away from it was that this
19 Quachita River lineament does not extend any further
20 southeast than is shown on this map because if you
21 just extend it, it goes apparently right through the
22 Grand Gulf site.

23 MR. HENGESH: I think another constraint
24 that we have is actually the edge of the rifted North
25 American continental margin. We would have to go back

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 200 million years when South America and North America
2 had collided and were intact and formed the belt here.

3 Then those continents drifted apart and as
4 they drifted apart they basically removed what I think
5 is the driving mechanism for these structures which is
6 the extension of the Reelfoot Rift down to this point.
7 I think the transition of the crust from the North
8 American trade to this transitional area would serve
9 as a termination point to those structures.

10 Next slide. So in developing our source
11 model, we used the logic tree approach to try to
12 capture the epistemic uncertainty in the parameters
13 that we used for input to the probabilistic seismic
14 hazard assessment. This figure is a graphical
15 illustration of how we look at a range of magnitudes
16 and alternative scenarios for occurrence earthquakes
17 and a range of earthquake recurrence intervals for
18 this site so in developing our source characterization
19 we did look at the epistemic uncertainty and treated
20 that in the development of the ground motion for the
21 site.

22 MR. HINZE: While you have the logic tree
23 on there, I note that you've given a 50 percent
24 probability to the Saline River features whatever they
25 are. Who gave it that number and what is the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 background for it not being smaller or larger?

2 MR. HENGESH: We talked to a number of
3 researchers who were working in that area. We looked
4 at the data that had been developed. In particular
5 the paleo liquefaction data. When you compare the
6 dates of paleo liquefaction events for Saline River
7 they overlap in every event with possible 1811, 1812
8 type of earthquakes so there is a chance that all of
9 those liquefaction features are related to New Madrid
10 earthquakes.

11 MR. HINZE: So the deformation that we
12 also see includes extended of the quaternary. Then
13 those two are caused by liquefaction or are they
14 caused by something else? You understand where I'm
15 going?

16 MR. HENGESH: Yes, I do. There is a 50
17 percent probability that these features are tectonic
18 and a 50 percent probability that they are related to
19 the Madrid. The tectonic features are permissive of
20 quaternary deformation but really are not conclusive.
21 There are alternative interpretations that can be made
22 for those features out there.

23 MR. HINZE: Is there any thrusting, Jim?
24 Is there any thrusting? Any indication of thrusting?
25 That's the kind of movement we see on the rift with a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 similar direction and stress field.

2 MR. HENGESH: There is one fold that has
3 been identified. Cox and Van Arsdale also identified
4 normal faults and what they think may be strike slip
5 faults. Again, there's not a lot of certainty in the
6 type of mechanism that is occurring out there. We
7 need some more studies.

8 MR. HINZE: Excuse me. One more question.
9 Has anyone done any shallow seismic reflection across
10 any of those?

11 MR. HENGESH: Yes, they have.

12 MR. HINZE: And that's available to you?

13 MR. HENGESH: Yes, it is. We involved
14 both Dr. Van Arsdale and Dr. Cox in our assessment of
15 this feature.

16 With that I'll hand it over to Marty.

17 MR. McCANN: Okay. I'm Marty McCann and
18 I'm going to talk about the last few steps in the
19 process in taking the input from the seismic source
20 characterization and the site geologic investigation
21 and basically the computational activities in
22 ultimately generating the SSE ground motion.

23 As Jim mentioned, the ground motion models
24 were updated by means of a SSHAC Level III process.
25 The EPRI software was updated to incorporate these new

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 models and to incorporate the capability to model
2 characteristic recurrence models which the code did
3 not originally have when it was developed in the mid
4 '80s.

5 Next slide. This little diagram shows you
6 the basic steps in performing a probabilistic seismic
7 hazard analysis. I won't go through those in detail.
8 They are fairly standard and we have been using the
9 basic steps for decades, in cartoon form, anyway. I
10 really hasn't changed over the last few decades.

11 This is one example of the results for the
12 site. The probabilistic hazard calculations were
13 performed for seven ground motion frequencies spanning
14 the frequency range of interest. This happens to be
15 the results for spectral acceleration at 5 hertz. All
16 of the results were computed for rock site conditions.
17 At the Grand Gulf site because it is not a rock site,
18 we needed to translate that motion to account for the
19 local site effects in the soil response.

20 The results incorporate all of the
21 epistemic uncertainties in the process and, thus, we
22 have a family of hazard curves the red being the earth
23 medic mean and the various fractile curves giving us
24 a sense of the aggregate epistemic uncertainty in all
25 of the parts of the process source characterization

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and ground motion in particular.

2 Next slide. As part of the process for
3 developing the SSE ground motion, the regulatory guide
4 recommends that the seismic hazard be deaggregated
5 such that we can see the contribution of earthquakes
6 of varying magnitude and of varying distance to the
7 hazard. The SSE ground motion is developed using the
8 median fractile hazard curve in each magnitude
9 distance bin so you see the bins that were used listed
10 here for distance and over here for magnitude.

11 Grand Gulf is somewhat unique in that we
12 have a substantial contribution from the New Madrid
13 sources despite their distance from the site. For
14 other sites in the east where we do not have a
15 Charleston or a New Madrid type source, we typically
16 see the contribution in this corner of somewhat lower
17 magnitudes and shorter distances but Grand Gulf is
18 unique in that we get a contribution from the very
19 distance New Madrid earthquakes.

20 There is a number of reasons for this.
21 One is the rate of seismicity in New Madrid is
22 substantially higher than it is in the local vicinity
23 of the Grand Gulf site and the earthquakes are
24 significantly larger that can occur there. That
25 combination gives us a much higher contribution from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 these events.

2 Next slide. As part of the process and
3 one of the uses of the deaggregated hazard results, we
4 want to compute what the average size earthquake at
5 what average distance of those events are contributing
6 to the ground motions at a median 10 to the -5 annual
7 probability of exceedence level. The procedures
8 suggest that you do it in two frequencies bands, one
9 to 2.5 hertz and 5 to 10 hertz. You calculate what is
10 called the controlling earthquake, thus the subsea.

11 Because it was known that distance
12 earthquakes may contribute substantially and, thus,
13 give you this bimodal distribution look, we do the 1
14 to 2.5 hertz contribution at two distances considering
15 all the distances in the hazard, and then secondly for
16 distances greater than 100 kilometers to see if there
17 is any difference in what the controlling earthquakes
18 would be.

19 We have fairly large events over 6.5,
20 nearly 7 or greater in terms of the average earthquake
21 that is causing ground motions at the median 10 to the
22 -5 level. And the distances are somewhat substantial
23 contributing substantially from the very distant New
24 Madrid events. Again, that's not quite the normal
25 pattern. We would just tend to see distances being

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 somewhat closer to the spike than we see here.

2 We use this information to then develop
3 response spectra for earthquakes of these
4 representative magnitudes. We use those as inputs to
5 the site response analysis.

6 Next slide. The solid line here is the
7 median 10 to the -5 response vector of the uniform
8 hazard response spectra with an annual median
9 probability of 10 to the -5 per year. We then develop
10 for the controlling earthquakes in the various
11 frequency bands representative earthquakes for those
12 size events at those distances.

13 One is anchored at the average spectra
14 acceleration between 1 and 2.5 hertz and the other is
15 anchored at the average spectral acceleration between
16 5 and 10 hertz. These spectra are then used to drive
17 the soil column to evaluate the site response to
18 ultimately get the surface site motion.

19 Next slide. This is a schematic of what
20 we're doing on the right hand side. We have rock
21 motion coming from the probabilistic seismic hazard
22 analysis. We have from the site geotechnical
23 investigation a soil profile and we perform a site
24 response analysis to determine the motion at the top
25 of the soil.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 What you see on the left hand side is the
2 calculated mean amplification. The solid line here
3 gives you the envelope. The two dashed and dotted
4 lines give you the mean amplification that is
5 calculated for the two different driving earthquakes,
6 one average to the 1 to 2.5 spectral acceleration, the
7 other to the average spectral acceleration between 5
8 and 10 hertz.

9 You can see right here being no
10 amplification. For the most part over the frequency
11 range there is considerable amplification of ground
12 motions that occurs at the site. Over here at 100
13 hertz this being 1 and that being a factor of 2 we
14 have considerable amplification of the p crown
15 acceleration which is often quoted as an SSE number.

16 Next slide, please. This gives us the
17 result with some comparisons. The red solid line here
18 is the result of the probabilistic seismic hazard rock
19 calculations incorporating now the site soil response.
20 That would be the 10 to the -5 SSE ground motion
21 referred to here as the probabilistic ESP SSE.

22 The solid blue line is the
23 deterministically determined SSE ground motion for the
24 existing unit. Then the solid black line just for
25 reference is a regulatory guide 1.60 response spectrum

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 anchored to the standard plant SSE PGA of .3(g) just
2 to give you a sense of where this site falls relative
3 to a standard plant design. That's the final slide.

4 MR. ZINKE: Moving on back to nonseismic
5 things, emergency planning. The regulation was that
6 we had to show no major impediments. Additionally we
7 chose an option in the regulation of major features
8 that in implementation turned out to be something
9 different than what we expected.

10 Since Grand Gulf is supported by an
11 existing operational emergency plan we took advantage
12 of that to the extent that we could or felt it was
13 reasonable to do at the early site permit stage. Same
14 way as far as various on-site and off-site plans, we
15 took advantage to the amount that we felt was
16 appropriate for us at the Early Site Permit stage and
17 that was incorporated into the application.

18 We have 23 open items in the DSER.
19 Responses are due June 21st. I have attached the
20 matrix of what the items are. The status of them
21 right now is that we have had conference calls with
22 the staff and discussed general approach of how we are
23 intending to respond to them. Within our organization
24 those responses are still being prepared and have not
25 been technically reviewed. Even though we can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 probably talk to some of them, we haven't made final
2 decisions on the actual responses.

3 CHAIRMAN POWERS: Just looking at them,
4 you have either said, "We're going to do it," or, "We
5 are going to ship it to COL."

6 MR. ZINKE: Right.

7 CHAIRMAN POWERS: Since it comes up a lot,
8 let's talk just a little bit about the snow loading
9 and the maximum weather precipitation issue.
10 Basically you say you're going to do this. I don't
11 think you believe it.

12 MR. ZINKE: On the maximum precipitation
13 some of the things that we discussed internally and
14 discussed with the staff was that the local PMP is
15 dependent upon final grades and a lot of design
16 specific things that we feel gets done at the COL and
17 that although we could do some things and make some
18 guesses now, that relative to local PMP it's work that
19 has to be done anyway. That's basically the issue we
20 struggled with on the PMP.

21 The snow load, Al, do you want to talk
22 kind of what the issue has been on the snow load?

23 MR. SCHNEIDER: Well, I guess, as staff
24 pointed out, we had to provide the maximum winter
25 precipitation added to the 100-year snowpack. We had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 provided some similar type information in the SSAR.
2 We went back and looked at the data and using HMR 53,
3 I guess, determined that the PMWD for the Grand Gulf
4 area is like 35 inches but it's rainfall so it's not
5 reflective of snow.

6 We looked at data from the weather
7 stations around the site regarding snow. The
8 conclusion is that what we have in the SSAR is
9 representative. I think the maximum snowfall event in
10 the area was recorded in Jackson about 10.5 inches of
11 snow.

12 We also looked at ice events in the area.
13 In Vicksburg there was an event. I forget the year,
14 '99 or '98, where there was an inch and a quarter of
15 ice recorded in Vicksburg. We took that number as
16 providing the most conservative estimate of the 48-
17 hour PMWP and decided that we would report that in the
18 SSAR to be used with the 100-year snow pack.

19 CHAIRMAN POWERS: So you're going to go
20 ahead and treat these as two independent events. That
21 is, you've got a snow event and then you've got this
22 ice storm which you receive on top of that.

23 MR. SCHNEIDER: The 100-year snow pack, I
24 guess, is defined for this site by the AESCE 7-02
25 rounded to 5 pounds per square foot roof loading and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that's a 50-year recurrence interval number so we use
2 the multipliers to make it 100-year recurrence. We
3 use that number in addition to the ice event which
4 provided the most boating for the site that seemed
5 credible for roof loading to add to the 100-year snow
6 pack. We intend to revise the SSAR to reflect that
7 type of data.

8 MR. ZINKE: That's the end of our
9 presentation.

10 CHAIRMAN POWERS: Members have any
11 questions? Seeing none, thank you, George. Do I turn
12 to Raj?

13 MS. DUDES: We're going to transition
14 right in. While they are setting up and doing their
15 slides I guess I can make some opening comments. That
16 was quite comprehensive with respect to seismic.

17 I'm Laura Dudes, the Section Chief for New
18 Reactors. Raj Anand is the project manager for Grand
19 Gulf and he will be making the presentation to you
20 today with help from various staff members who are
21 sitting here.

22 We presented our North Anna DSER to you,
23 the Subcommittee and the full Committee, in March
24 2005. Just by way of information, we have drafted a
25 response to the interim letter, your interim letter of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 March 16 which had some generic issues and concerns,
2 that probably will be applicable to all ESP
3 applications. Expect that response, I believe, May
4 31st, 2005. Staff has drafted the technical response
5 and are now working it through management.

6 I guess after the seismic discussion we
7 had --

8 CHAIRMAN POWERS: Is that a threat?

9 MS. DUDES: Pardon me?

10 CHAIRMAN POWERS: Is that a treat or
11 something?

12 MS. DUDES: What, getting the response?

13 CHAIRMAN POWERS: Yes.

14 MS. DUDES: Well, I don't know. You'll
15 have to read it and tell me what you think. I know
16 you'll tell me what you think.

17 CHAIRMAN POWERS: I'm sure they are
18 wonderful comments and we will go along pleasantly
19 with the advice from the Advisory Committee.

20 MS. DUDES: Yeah. And I think when you
21 see the response, it is applicable to all the ESPs.
22 I just wanted to make a note. I know we just went
23 through an extensive discussion on the seismic issues
24 associated with Grand Gulf. We received all three
25 Early Site Permit applications in 2003.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We issued all three Draft Safety
2 Evaluation Reports with the exception of the staff is
3 still working on the review of a performance based
4 seismic methodology for the Clinton site. It's just
5 important to note that the performance based seismic
6 methodology is not applicable to Grand Gulf and
7 today's presentation.

8 With that, before Raj begins, let me just
9 introduce to you our two other project mangers,
10 turning slides Belkys Sosa for North Anna and --

11 CHAIRMAN POWERS: We hardly know her.

12 MS. DUDES: Yeah, I know. And our Senior
13 Early Site Permit project manager and also the project
14 manager for the Clinton site, John Segala, who is
15 sitting here at the table. With that, Raj.

16 MR. ANAND: Thank you, Laura, very much.
17 I am Raj Anand, the project manager for Grand Gulf
18 Early Site Permit application. Let me get started.
19 We are on slide 2. Our purpose here today is to brief
20 the Subcommittee on the Grand Gulf Early Site Permit
21 application and the staff review of that application
22 and to support the Subcommittee review and subsequent
23 Committee's interim letter that we are going to
24 request that you sent it to the Commission.

25 We do have technical staff reviewers here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN POWERS: Are we going to send an
2 interim letter to the Commission? I mean, usually we
3 send interim letters, I think, to the EDO.

4 MR. EL-ZEFTAWY: Yeah, that's what we did
5 for North Anna.

6 CHAIRMAN POWERS: I mean, I'm sure the
7 Commission takes a look at it but ordinarily interim
8 letters go to the EDO.

9 MR. ANAND: Thank you. We do have
10 technical staff members here who can answer your
11 questions. Slide 3, please. This is today's agenda.
12 After hearing applicant's presentation, we have got a
13 little bit smarter in the last couple of hours. I
14 will spend less time on the issues that have been
15 discussed by the applicant and more time on the issues
16 that the Subcommittee would like to hear.

17 Slide 4, please. This slide discusses the
18 regulatory framework which, of course, is Subpart A to
19 10 CFR Part 52 which governs ESP and Part 52
20 references Subpart B to 10 CFR Part 100 which contains
21 the applicable citing criteria.

22 10 CFR 52.23 requires ACRS to report to the
23 Commission on portions of the application that
24 pertains to safety and that's the reason we are here
25 today, sir.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Grand Gulf is the third of the three ESP
2 applications NRC is currently reviewing.

3 CHAIRMAN POWERS: Do I have Clinton?

4 MR. EL-ZEFTAWY: We have a portion of the
5 draft DSER which is not complete yet. There's going
6 to be another supplement to the DSER.

7 MR. ROSEN: I think the answer is no, you
8 have not been given Clinton.

9 MS. DUDES: Well, Med, this is Laura
10 Dudes. I mean, there is only one section missing from
11 Clinton. I don't know if John wants to --

12 MR. SEGALA: We provided the ACRS copy of
13 our Draft Safety Evaluation Report which includes
14 everything but the supplemental on the performance
15 based seismic approach. I think the intent was to
16 wait until you received the supplemental before we
17 have a Subcommittee meeting.

18 CHAIRMAN POWERS: I mean, I don't want to
19 wait until the supplement comes out to look at it. I
20 find that your documents are voluminous enough that
21 additional time to read them doesn't hurt.

22 MR. SEGALA: Well, you have them, or Med
23 has them.

24 MR. ANAND: North Anna and Clinton
25 applications were submitted to NRC in September 2003

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and the Grand Gulf application was submitted in
2 October 2003.

3 Slide 5, please. System Energy Resources
4 submitted ESP application by letter dated October 16,
5 2003. The NRC staff docketed the SERI application in
6 November 2003. The NRC staff issued Draft Safety
7 Evaluation Report with open items on April 7, 2005.
8 The staff also issued the draft environmental impact
9 statement on April 21, 2005.

10 Slide 6, please. The purpose of the ESP
11 process itself is to resolve issues separated from the
12 design related issues at an early stage before a large
13 expenditure of resources are invested. ESP holder can
14 "bank" the site for 20 years for future use.

15 Slide 7, please. After the full Committee
16 meeting which is scheduled on Thursday, June 2, 2005,
17 we will be requesting ACRS interim letter to the EDO
18 on the Draft Safety Evaluation Report by the end of
19 June, 2005. The NRC staff plans to issue the final
20 safety evaluation on Grand Gulf Early Site Permit on
21 October 21, 2005. The staff will provide final Safety
22 Evaluation Report to ACRS also in October 2005.

23 As the current schedule indicates, ACRS
24 Subcommittee meeting for the final Safety Evaluation
25 Report is scheduled on November 22, 2005 and full

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Committee meeting on December 8, 2005. Again, we will
2 request NRC letter to EDO on the final Safety
3 Evaluation Report sometime in December 2005.

4 The staff will incorporate ACRS letter and
5 issue a final Safety Evaluation Report as a NUREG on
6 January 28, 2006. There are mandatory hearings for
7 the Early Site Permit applications. These hearings
8 begin in 2006. There are --

9 CHAIRMAN POWERS: Are those hearings in
10 the vicinity of -- to be held in the vicinity of the
11 various --

12 MR. ANAND: The various sites. There are
13 no contentions admitted in the SERI application. The
14 uncontested hearing will begin upon the completion of
15 the safety and environmental reviews.

16 Slide 8, please. Just to give you a few
17 details of the Grand Gulf site and the applicant. The
18 Grand Gulf ESP application was submitted for a site
19 which is basically within the existing operating Grand
20 Gulf Nuclear Station Unit 1. As the Committee heard
21 from the applicant, SERI is the owner of the ESP site
22 and SERI is also subsidiary of Entergy Corporation.

23 After the early site permit is received by
24 SERI from the Commission, SERI has no plan to perform
25 any activity on the ESP site. Therefore, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 applicant has not submitted the redress plan.

2 Slide 9, please. SERI has requested their
3 ESP site be approved for total nuclear generating
4 capacity of up to 8600 MWt, with a max 4300 MWt per
5 unit. SERI has declined to submit a specific design
6 at this stage but the applicant has submitted a plan
7 designed parameters that are representative that they
8 intend to be bounding for these reactor designs such
9 as advanced boiling water reactor, Westinghouse
10 AP1000, or economic and simplified boiling water
11 reactor.

12 DR. WALLIS: It's rather a small site if
13 they are going to put a lot of pebble bed modules on
14 it.

15 MR. ANAND: They haven't decided yet.
16 They haven't come back to us. They might do it at the
17 COL stage.

18 MR. ROSEN: Now, is it true that if they
19 did decide on the multi-module site, as Dr. Wallis
20 suggest, that all of those would have to be within the
21 circle they showed us?

22 MR. ANAND: Right. That's my
23 understanding. The staff is reviewing the applicant's
24 planned parameter from the standpoint of whether they
25 are reasonable or not.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. KRESS: What's your criteria for
2 reasonable? Never mind. Go ahead.

3 CHAIRMAN POWERS: No. It's a legitimate
4 question.

5 MR. ANAND: It is then applicant's burden
6 to make sure that the plant's parameter site when they
7 come in for a combined license application for the
8 actual design that it fits within those parameters.

9 DR. WALLIS: It seems to me you could be
10 very reasonable and wrong. I mean, my colleagues on
11 the Committee are often like that.

12 CHAIRMAN POWERS: I can think of no
13 occasion of where we have been reasonable and wrong.

14

15 MR. ANAND: Slide 10, please.

16 CHAIRMAN POWERS: Except in the area of
17 thermal hydraulics.

18 MR. ANAND: The original Grand Gulf Site
19 was designed for two units. The Unit 1 was licensed
20 in June 1982. Construction of the second unit was
21 halted prior to the completion. However, the switch
22 yard for both the units was completed.

23 The ESP applicant plans to use the
24 existing switchyard for the proposed ESP sites. The
25 normal heat sink for the ESP unit is comprised of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 closed loop circulating water system, pumps, water
2 basin and cooling towers. ESP application is
3 considering use of the Mississippi River for intake
4 and discharge structures. Applicant has requested an
5 Early Site Permit for 20 years.

6 Slide 11, please.

7 DR. WALLIS: This normal heat sink is the
8 ultimate heat sink?

9 MR. ANAND: No, it's different. I'll get
10 back to that.

11 MR. ROSEN: See, that last statement you
12 made confused me because we had quite a good
13 discussion of the existing structure for normal water
14 intake from the river.

15 MR. ANAND: Right.

16 MR. ROSEN: So what is the next to the
17 last bullet mean, that they are considering use? That
18 is the plan. Is it not?

19 MR. ANAND: That is the plan. I believe
20 the applicant is considering the use --

21 MR. ROSEN: I wouldn't use considering.
22 I would have used -- you mean they are planning to.

23 MR. ANAND: Yes, planning to. That's the
24 right word, sir.

25 DR. WALLIS: Why else would you build a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 plant next to a major road?

2 MR. ANAND: Slide 11, please. This
3 slide --

4 MR. ROSEN: And actually the river
5 provides water to a subsurface lateral acquisition
6 system. It's not a typical intake structure. We had
7 a good discussion of that and that is what you mean.

8 MR. ANAND: Right. Slide 11. This slide
9 is just a list of the review areas and the staff
10 reviewers. Most of those staff reviewers are here to
11 answer your questions in their areas of review.
12 Before we leave the list of the areas and the
13 reviewers here, I just wanted to mention that staff
14 was benefitted a large number of expert input.

15 In hydrology we have had the support from
16 the Pacific Northwest Lab and, in some cases, the lab
17 did the independent evaluation of applicant's
18 evaluation and conclusion. In geology and seismology
19 the staff has benefitted from the support from the
20 United States Geologic Survey and Brookhaven National
21 Lab.

22 DR. WALLIS: Are you going to just mention
23 that this was done or are we going to have any
24 presentation about any of these items?

25 MR. ANAND: Yes. We are going to talk.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: Are you going to justify the
2 open items, for instance?

3 MR. ANAND: Well, for the open items we
4 are still talking with the applicants and providing
5 clarification. If time permits, we can talk.

6 In the emergency planning the staff
7 consulted extensively with the Federal Emergency
8 Management Agency, FEMA. We had a large team involved
9 in reviewing the ESP application.

10 Slide 12, please. This slide indicates
11 the Grand Gulf site and environments. The small
12 orange circle in the middle is the footprint of the
13 proposed ESP site. The yellow circle is the proposed
14 ESP exclusion area boundary. Dotted line shows the
15 property boundary. I request Jay Lee to add something
16 on the slide.

17 MR. LEE: Yeah. This is Jay Lee from the
18 NRR. I just want to point out that the exclusion area
19 boundary and the low population zones are typically
20 measured from reactor or are in the center of a
21 containment. That's true for the North Anna as well
22 as Clinton site.

23 But in the case of the Grand Gulf Dr.
24 Powers raised the question this morning earlier. I
25 don't think I answered it correctly but actually the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 distance for the Grand Gulf case for the exclusion
2 area boundary and the LPG is measured from that
3 particular circumference of ESP facility footprint
4 area that is 630 feet circular.

5 CHAIRMAN POWERS: So it's measured from
6 the innercircle boundary to the edge of the low
7 population zone and is two miles.

8 MR. LEE: Right. That's unique.

9 CHAIRMAN POWERS: Okay. You may want to
10 look at the wording in the DSER because it confused
11 me. That's why I raised the question. Ah, now I
12 understand.

13 MR. LEE: So really in a case LPG distance
14 is two miles plus 630 feet. In the case of exclusion
15 area boundary that's the 2760 feet plus 630 feet.

16 CHAIRMAN POWERS: That makes the
17 particular phrases if they were causing my conclusion
18 make sense but you might want to look at that
19 phraseology and see if you can help the poor reader a
20 little bit. But it makes sense now.

21 MR. LEE: Okay. Thank you.

22 MR. ANAND: Thank you, Jay.

23 DR. WALLIS: Is someone going to address
24 my colleague's question, Steve Rosen, about why it's
25 okay to put this thing so close to the edge of a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bluff?

2 MR. ANAND: May I request Goutam to come
3 over?

4 MR. BAGCHI: That's a geotechnical issue
5 but I did not -- the staff did not see any problem
6 with the foundation load transfer causing any
7 potential problem with slumping of the slope. We have
8 Dr. Carl Constantino who will probably respond to it
9 better when it comes to open items. We can do it now.

10 MR. CONSTANTINO: I'm Carl Constantino.
11 I'm a professor emeritus from City College of New York
12 working with Brookhaven for more decades than I would
13 like to say. That question came up as part of our
14 review. Actually, the impetus for the setback came
15 from our discussion of that topic.

16 The criteria that was mentioned here was
17 based on the static criteria. Since the foundations
18 are so low with respect to the bluff, materials so
19 stiff as you would expect in the bluff, the issue of
20 static characteristics is not a major player.

21 However, there is an issue still remaining
22 and that has to do with the seismic response, the SSI
23 response because now we have potentially a building
24 located with a foundation at some depth with the
25 difference in elevation of the site soils. None of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the available plants have ever looked at that issue so
2 that's a major -- what I consider a major problem
3 because if you do look at that, then you have to go
4 back and relook at all the detail design, the
5 structural response.

6 That, if guess, is being put off to the
7 COL stage so the whole issue of the bluff was
8 evaluated and looked at and this issue is really the
9 outstanding issue still remaining.

10 DR. WALLIS: So this is put off until you
11 know more details about the actual buildings.

12 MR. CONSTANTINO: Where it's going to be
13 located, the type of building, what was done for the
14 design of that building.

15 MR. ROSEN: Now, it helps me a little bit
16 to have seen the proper picture of the site. What we
17 saw was exaggerated vertical scale. I was shown
18 during the break a normal scale one to one. I think
19 the one we're showing is four to one. The profile is
20 actually quite a bit less severe. The issue as I
21 understand what you're saying is that the New Madrid
22 quake occurs and then you have slumping because you
23 have some distance.

24 MR. CONSTANTINO: There are really two
25 aspects. If you look at seismic response during the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 event I have a seismic design ground motion applied to
2 the site and now the site has a discontinuity from one
3 side to the other.

4 MR. ROSEN: What is that discontinuity?

5 MR. CONSTANTINO: It's on the Mississippi
6 River side you have a low elevation and there is a 70-
7 foot discontinuity.

8 MR. ROSEN: Okay, yes.

9 MR. CONSTANTINO: The 140-foot depth even
10 though it's very deep there still is a significant
11 difference on the dynamic response of the building so
12 seismic loads are impacted by that. No reactor that
13 I know of has ever looked at that problem so the
14 standoff distance required for that may be
15 significantly larger than 150 feet for long periods
16 associated with the seismic response of the building.

17 That's one issue. The second issue is
18 that if there is post-event slumping, then I have
19 lateral additional loads which I don't normally
20 account for in standard designs so that's another
21 issue that has to be looked at. All of those, I
22 think, have been put off until the COL stage so there
23 are really two components, long-term and dynamic
24 during the event.

25 MR. HINZE: There's even a more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 deterministic approach to this earlier in the game and
2 that is to see if we can see if there is some origin
3 for the slumps that have occurred and to see whether
4 those geological, hydrological conditions are repeated
5 or replicated in the site.

6 MR. ROSEN: Do we know when the slumps
7 occurred? Were they in temporal context with the New
8 Madrid quakes in 1811 or was it well before that or
9 after? When did they occur? Are they recent?

10 MR. HINZE: I think Jeff made a casual
11 remark regarding those if I recall correctly.

12 MR. BACHHUBER: Actually, if I could make
13 a couple statements.

14 CHAIRMAN POWERS: Come to a microphone and
15 tell us who you are. Join the ACRS. Welcome.

16 MR. BACHHUBER: It feels good.

17 CHAIRMAN POWERS: It won't after a while.

18 MR. BACHHUBER: This is Jeff Bachhuber.
19 With regards to the stability of the bluff, first off
20 to prepare the site for the ESP foundations would
21 require cutting down about 25 feet on the upper pad so
22 the portion that encroaches near the top of the bluff
23 is currently at an elevation of about 155 feet.
24 It will be cut down to about 132 feet to form the
25 plant grade so the elevation differential between the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 base of the bluff and the site now is reduced so we
2 are looking at less of an elevation difference through
3 that grading.

4 Another item is that at the end if the
5 site is pushed towards that far end closest to the
6 bluff and it does become an issue during our
7 evaluation of the SSI, the site response, there are
8 practical measures to stabilize the bluff so it's not
9 an unusual condition that would require any kind of
10 extra or unusual engineering approaches. Such type of
11 bluff stabilization could be easily accounted for in
12 the design. For instance, slope reinforcement,
13 regrading. There are some measures that could be used
14 to treat that.

15 MR. ROSEN: Well, my question about the
16 bluff, when did those bluffs slump, has not been
17 answered.

18 MR. BACHHUBER: Oh, I'm sorry. The bluffs
19 we can't tell exactly the timing. We do see them on
20 the topography so it looks like they were there prior
21 to site construction. We definitely see them in the
22 early topography maps used to prepare the grading plan
23 for the site.

24 MR. ROSEN: Which was what year?

25 MR. BACHHUBER: That was -- I don't know,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 George. Could you help me on that?

2 MR. ZINKE: Early '70s.

3 MR. BACHHUBER: So the early '70s. We
4 don't see evidence of continued movement so since
5 grading and site development in the early '70s there's
6 no indication of renewed cracking or enlargement of
7 the head area of the landslides onto the pad.
8 Especially where the ESP is planned.

9 MR. ROSEN: The bluff is presumably there
10 because it was eroded by the Mississippi. Is that why
11 it's there?

12 MR. BACHHUBER: Yes. That's an erosional
13 bluff from the river and slope.

14 MR. ROSEN: What we're seeing is a
15 continuation of millions of years of history?

16 MR. BACHHUBER: Yeah. The age of the
17 bluff, the deposits are Pleistocene so they are carved
18 into the loess so it's on the order of maybe at least
19 10,000 years. Maybe back a million years old.
20 Somewhere in that time frame.

21 MR. HINZE: One should be able to date
22 those slides with any organic material that is caught
23 up in them.

24 MR. BACHHUBER: It could be possible. We
25 have done that using materials recovered from borings

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 or trenches dating material underneath the failure
2 plain that has been overrun by a slide to date it.
3 That is something that could be done. If during COL
4 it looks like that is something that would need to be
5 resolved further, we could look at some ways to date.

6 MR. ROSEN: It seems to me we're talking
7 about time frames of interest which are so short in
8 the way we're thinking about things that one would
9 have to anticipate slumping during the life of the
10 facility. One couldn't make an argument, I don't
11 think, out of hand that they won't slump during the
12 life of the facility even without an earthquake event.

13 MR. BACHHUBER: That was the conservative
14 assumption we used to establish the setback and also
15 to look at the potential influence on the foundation
16 stability is that it would occur in the future.

17 MR. ROSEN: It would occur during the life
18 of the facility and the facility will be designed to
19 withstand that without safety-related effects, effects
20 on safety-related structures? Is that what I'm being
21 told?

22 MR. BACHHUBER: Yes. And with the setback
23 that has been shown on the plans of 150-foot setback,
24 that provides an adequate buffer to account for even
25 what we believe is a worse-case future slump type

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 event.

2 MR. ROSEN: As big as the ones you see
3 now?

4 MR. BACHHUBER: Even greater. The current
5 slumps it looks like they have encroached into the
6 bluff on the order of maybe 10 to 50 feet so we would
7 assume in future events that would be a good guide for
8 how far back it would retreat. Our 150-foot setback
9 would account for several episodes of similar bluff
10 retreat.

11 MR. HINZE: Has anyone made an
12 investigation up and down the Loess Hills of slumps as
13 a function of time? It would seem to me someone would
14 want to be interested in that.

15 MR. BACHHUBER: I'm not aware of that. We
16 didn't perform that work but it is possible.

17 MR. HINZE: That may be in the literature.

18 MR. LI: Can I add a little bit about
19 this? My name is Yong Li from NRR. I think the
20 University of Memphis and the staff member or graduate
21 student did some research to try to correlate the
22 issue between landslides from the bluff and the
23 earthquakes. Also a USGS person, I think Randy
24 Jipson, he did the correlation study between the
25 landslides and on the bluff and the 1811 earthquake.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ANAND: Okay. Now, I would like to
2 talk about some of the ESP site features related to
3 hydrology. The Grand Gulf ESP site is located on the
4 east bank of the Mississippi River near River Mile 406
5 and approximately 25 miles south of the Vicksburg and
6 six miles northwest of the Port Gibson, Mississippi.

7 The existing Grand Gulf Unit 1 is located
8 700 feet from the proposed ESP site. The ESP site had
9 a grade elevation of 132 feet mean sea level. The
10 makeup and the normal service water for the ESP
11 facility would be supplied from the Mississippi River.
12 The ultimate heat sink for the ESP facility will use
13 a closed cooling water system, possibly mechanical
14 draft cooling towers. The ESP ultimate heat sink will
15 not rely on water intake from the Mississippi River.

16 The ESP facility will have a dedicated
17 water storage basin to hold 30-day emergency cooling
18 water. The staff independently verified that flood in
19 the Mississippi River is not a threat to the site.
20 The nearest bank of the Mississippi River is about 1.1
21 mile from the ESP site.

22 This location is on the top of the bluff
23 which is about 65 feet above the normal river level.
24 Therefore, the distance and the river bluff provides
25 the protective feature for the ESP site. The staff

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 consulted with Corps of Engineers and the staff
2 independently verified that the ESP site is safe from
3 flooding.

4 The NRC staff also concluded that low
5 water elevation resulting from ice jam or other causes
6 would not adversely affect safety of the ESP facility.
7 In addition the application proposed at they will
8 install several wells at the ESP site to meet the
9 down-water demand.

10 Slide 14, please.

11 DR. WALLIS: Ice jams? You said ice jams?

12 MR. ANAND: Right.

13 DR. WALLIS: This is way up in Minnesota
14 somewhere? You don't get ice jams in Mississippi.

15 MR. HINZE: I think you can get them down
16 in Illinois. Can't you?

17 DR. WALLIS: You go down into Illinois?

18 MR. HINZE: Yes.

19 DR. WALLIS: That dries up the river? It
20 must be pretty dramatic when the ice jam breaks.

21 MR. ANAND: Goutam, you want to say
22 something?

23 MR. BAGCHI: Nothing is needed.

24 MR. ANAND: Slide 14, please. The
25 proposed --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HINZE: Before you move on, can you
2 help me with this flood water elevation of 133.25 feet
3 being sea level versus the 132.5 proposed grade level?
4 Where did this 133.25 come from?

5 MR. ANAND: The ESP site has a grade
6 elevation of 132.5 feet mean sea level.

7 MR. HINZE: Right. What is the maximum
8 flood level?

9 MR. CESARE: This is Guy Cesare. The
10 flooding at the site is driven -- or when you consider
11 it, you look for flooding of local rivers and streams
12 and the staff has concluded as we did that flooding
13 from the Mississippi river which is constrained by the
14 highest levy structure is 103. Unit 1 site is at
15 132.5.

16 We are proposing that at this point that
17 most likely the ESP site will be graded down formally
18 to 132.5 roughly as well. But at 132.5 that is some
19 29 feet above the maximum Mississippi River flood
20 level at 103 because that would top the levi.
21 Virtually any reason that can cause the river to flood
22 would not approach the 132.5.

23 The other driver for flood water levels
24 and the need for flood protection is that of local
25 intense participation which is PMP driven. The 133.25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 foot elevation is a Unit 1 licensing basis calculation
2 based on the early '80s calculation of the intense
3 local PMP.

4 It is the result of pooling of water
5 around the Unit 1 structures at that time and reaches
6 an elevation of 133.25 and flooding protection was
7 then required for all safety related structures that
8 were exposed to that which was primarily the ultimate
9 heat sink pump house, standby service water pump
10 house.

11 MR. HINZE: Thank you. I appreciate it.

12 MR. ANAND: Slide 14, please. The
13 proposed Grand Gulf ESP site is located in a relative
14 low seismic region. Applicant has identified no
15 active seismic fault within 90-mile radius from the
16 location of the ESP site and no earthquake recorded
17 within 25-miles radius.

18 The Grand Gulf site is a deep soil site.

19
20 DR. WALLIS: No earthshaking at all? You
21 must get some effects from earthquakes that are a long
22 way away. Do you mean by no earthquake center or no
23 seismograph ever recorded anything?

24 MR. LI: That has a time frame I think
25 missing there. It's since 1777.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HINZE: I think what it really means
2 is no epicenter.

3 DR. WALLIS: No epicenter is what it
4 should really be. The ground has shaken.

5 MR. ANAND: The applicant has used the
6 regulatory guide 1.165 for identification and
7 characterization of seismic sources and determination
8 of the safe shutdown earthquake ground motion. The
9 Regulatory Guide 1.165 described matters acceptable to
10 NRC staff for determination of SSE.

11 Slide 15. The applicant has extensively
12 dwelled on the next slide and I will skip that slide.
13 Slide 16.

14 DR. WALLIS: So there is a blue circle
15 somewhere near the site. Vicksburg. There's been a
16 quake at Vicksburg. What's this magnitude Mb? How
17 does that compare with a Richter Scale.

18 MR. HINZE: That's a body wave.

19 DR. WALLIS: Body weight?

20 MR. HINZE: Body wave.

21 MR. LI: What's the question again?

22 MR. ROSEN: How does that compare to the
23 Richter Scale?

24 MR. LI: The body wave? It's similar,
25 yeah. Another scale we use currently is moment

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 magnitude. It's very popular now and it's very
2 accepted. I mean, used extensively in the hazard
3 research of seismic status.

4 MR. ROSEN: So an NB of 5 to 7 is
5 equivalent to a Richter of 5 to 7?

6 MR. LI: Yes. There's another scale
7 called subway manager. I think it's a different
8 scale. There's many, many scales in terms of
9 magnitude measure.

10 DR. WALLIS: I find it difficult to
11 believe there are so many earthquakes in the 5 to 8
12 Richter Scale since '85 in Tennessee.

13 CHAIRMAN POWERS: It happens all the time.

14 DR. WALLIS: Not at that magnitude.

15 CHAIRMAN POWERS: You hardly even notice
16 them.

17 DR. WALLIS: I know. When you get up to
18 8 you notice them.

19 CHAIRMAN POWERS: Well, 8 is three orders
20 of magnitude larger roughly.

21 DR. WALLIS: Or 60 times or something per
22 unit of Richter Scale.

23 DR. KRESS: That seems like a long, big
24 range, 5 to 8.

25 DR. WALLIS: It doesn't tell you very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 much.

2 DR. KRESS: No. That's three orders of
3 magnitude if it's equivalent to the Richter Scale.

4 MR. McCANN: This is Marty McCann. Maybe
5 I'll add a little clarification. The Richter Scale
6 that you're referring to is sort of the popular name,
7 if you will, developed by Professor Richter in
8 California. It's also referred to as a local body
9 wave. It refers to the measurements that are taken of
10 the seismic waves on a seismograph and there are
11 various waves that are recorded.

12 MR. HINZE: And a very particular
13 seismograph.

14 MR. McCANN: Exactly. Very particular
15 seismograph in California at 100 kilometers. What we
16 have found over time as we have gotten wiser
17 seismologically, have more instruments, understand
18 more about wave propagation, etc., that in the east we
19 tend to record the body waves and Lg body waves in the
20 east so you typically see mb or mbLg being recorded.

21 As time as gone on, what we have found is
22 that all of those magnitude scales to varying degrees
23 don't accurately represent, if you will, the energy
24 that's in the earthquake. We have evolved to seismic
25 moment and derived from that the moment in magnitude.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 If you were to look at a plot comparing
2 magnitude scales, what you would find is that the
3 moment in magnitude scale gives you an unbiased
4 measure over the magnitude scale of range, if you
5 will. And the other magnitude scales, depending upon
6 the part of the scale you're looking at, has some
7 degree of bias.

8 In particular, with the larger magnitudes
9 what you'll find is the local magnitude, the body wave
10 magnitude will begin to saturate meaning while the
11 earthquake is truly getting larger, the scale is not
12 telling you that and it's saturating and just not
13 going up. But the body wave mb and mbLg are typical
14 of what we record in the east. But all of the work
15 that's being done now is attempting to report
16 earthquakes in catalogues in magnitude scale.

17 MR. ROSEN: Just to understand this a
18 little better myself, we heard various reports about
19 the quake that triggered the tsunami recently was a 9
20 or 9.1 or 2 or 3.

21 MR. McCANN: Right.

22 MR. ROSEN: Were there body wave
23 measurements made of that?

24 MR. McCANN: There certainly were in the
25 seismographs all around the world but that was a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 moment magnitude. I don't know what the body wave
2 magnitude would have been for that but it certainly
3 would have saturated and you wouldn't have got an
4 accurate measurement so it would have been useless to
5 report it.

6 MR. HINZE: Generally when you get above
7 those magnitudes 5, 6 you start using the surface
8 waves.

9 MR. McCANN: You get the surface wave and
10 even that will begin to saturate as well, particularly
11 at a 9 so they become noninformative in terms of the
12 real size, the real energy that has been released.

13 DR. WALLIS: New Madrid is in Missouri?

14 MR. McCANN: Yes.

15 DR. WALLIS: Is it on this map?

16 MR. McCANN: Yes.

17 DR. WALLIS: Why isn't it a great big blue
18 blob.

19 CHAIRMAN POWERS: It is a great big blob
20 of dots.

21 DR. WALLIS: It doesn't seem to be
22 distinguished from any of the other blue blobs.

23 MR. McCANN: Probably because there are so
24 many.

25 DR. WALLIS: Can you measure more than

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 just a great cataclysmic event compared to these other
2 ones?

3 DR. KRESS: New Madrid is a fault.

4 CHAIRMAN POWERS: Professor Wallis, can I
5 ask you where you're going with this?

6 DR. WALLIS: Well, I was trying to figure
7 out what this tells me since we've jumped over this
8 map.

9 CHAIRMAN POWERS: No, we went through it
10 in some detail earlier while you were away.

11 DR. WALLIS: I wasn't here?

12 CHAIRMAN POWERS: That's right.

13 DR. WALLIS: I'm sorry.

14 MR. ANAND: Slide 16, please. After
15 applicant's investigation and their seismic hazard
16 analysis, the applicant presented their SSE as shown
17 in the red curve which is based upon Regulatory Guide
18 1.165 approach. If a future reactor design or ESP
19 site follows the Regulatory Guide 1.160 and anchors at
20 peak ground acceleration at .3g, then the design
21 response spectrum of the future reactor will look like
22 as shown in the blue line curve.

23 CHAIRMAN POWERS: And you find what the
24 applicant has done to be totally acceptable?

25 MR. ANAND: Yes, sir.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN POWERS: Good.

2 MR. ANAND: I will skip the slide 17.

3 We'll have --

4 CHAIRMAN POWERS: We understand that
5 extremely well.

6 MR. ANAND: Thank you. Slide 19, please.
7 Slide 18. First of all, regarding the emergency
8 planning, SERI like other two Early Site Permit
9 applicants elected to seek acceptance of "major
10 features" of emergency plans as provided in 10 CFR
11 52.17.

12 The concept major feature is not defined
13 in detail in the regulation so we have ended up having
14 to deal with exactly what is a major feature and what
15 finality does it provide to the applicant. The review
16 guidance that we have used for review of the major
17 features is in Supplement 2 to NUREG-0654. This is a
18 NRC and FEMA joint document.

19 There has been some concern in the
20 industry regarding the degree of the finality
21 associated with the major feature because the
22 applicant objective of the Early Site Permit is to
23 achieve finality on as many features as it can. The
24 staff can at the Early Site Permit stage review that
25 information against the planning standards provided in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Supplement 2 to NUREG-0654 and if the staff finds the
2 description to be acceptable and conclude that major
3 feature is acceptable, then the conclusion is final
4 subject to the requirement of 10 CFR 52.

5 However, the staff can grant finality as
6 to the overall description but the applicant need to
7 address implementation details of the combined license
8 application. We see that applicant can obtain limited
9 finality with the major feature option. For example,
10 notification is a major feature. However, at the COL
11 stage the applicant needs to provide implementation
12 as, for example, number and placement, power supplies,
13 etc.

14 Slide 19, please. The NRC staff has
15 identified 23 open items in the Draft Safety
16 Evaluation Report. These open items are listed in
17 your handouts as backup slides 25 through 33. Staff
18 needs additional information from the applicant prior
19 to developing the final Safety Evaluation Report.

20 The staff has started conference calls
21 with the applicant to provide clarification on these
22 open items. The responses to all the open items are
23 due to staff by June 21, 2005. I respectfully submit
24 to the Committee that we will discuss with you the
25 open items and their resolution when we brief you on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the final Safety Evaluation Report.

2 Slide 20, please. The Safety Evaluation
3 Report that we published on April 7, 2005, contains
4 open items. In those sections that contain open items
5 we have not reached a conclusion regarding the
6 accuracy of the information provided therein.

7
8 A number of other sections, however, there
9 were no open items and we have reached some
10 conclusions. For example, the applicant we believe
11 has provided appropriate quality assurance measure
12 equivalent to those in 10 CFR Part 50
13 Appendix B.

14 Site characteristics are such that
15 adequate security plans and measures can be developed
16 which is largely a function of both the topography and
17 the amount of the land they have available. We
18 believe the SERI has adequate site to support security
19 measures.

20 Slide 21. Additional conclusions from
21 individual sections. The applicant has established
22 appropriate atmospheric dispersion characteristics to
23 support design basis radiological calculations. Based
24 on the applicant's use of the plant parameter and site
25 characteristics, the staff concludes that the site

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 meets the radiological dose consequences criteria in
2 10 CFR 50.34(a)(1).

3 Of course, when the actual design comes in
4 at the combined license application, then we will need
5 to compare these release characteristics to those that
6 are assumed at the ESP stage.

7 CHAIRMAN POWERS: I mean, what the
8 applicant has submitted, I think, any plan -- I look
9 at this cross section of plans and I picked one that
10 I think is the worse and put it here on the site and
11 I do my 50.34 analysis. The presumption that is being
12 made by all is that when somebody comes in and decides
13 to exercise this site permit that they are going to
14 pick a plant that is no worse than those that have
15 been considered at this point.

16 MR. ANAND: Right.

17 CHAIRMAN POWERS: Okay. So you really
18 look at only if, in fact, what gets selected is worse
19 than what was assumed. Right?

20 MR. ANAND: Yes.

21 CHAIRMAN POWERS: Okay. So presumably if
22 somebody picks a plan that has the release
23 characteristics that are bounded by the DSP there is
24 no additional analysis done.

25 MR. ANAND: Yes, sir. Another conclusion

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is that the potential hazards associated with nearby
2 transportation routes, industrial and military
3 facilities pose no undue risk to the facility or
4 nuclear power plants that might be considered at the
5 ESP site.

6 CHAIRMAN POWERS: In the discussion of
7 potential hazards near the site, there is some
8 discussion of a pipeline at a distance of just short
9 of five miles. It's a natural gas pipeline. In the
10 discussion it goes on and you discuss on-site hazards
11 due to hydrogen being delivered to the site, both
12 gaseous and liquid hydrogen.

13 MR. ANAND: Yes.

14 CHAIRMAN POWERS: And in there there is a
15 statement that says the applicant concluded that the
16 probability of the detonation from that hydrogen was
17 4. something times 10 to the -7th. Later in the
18 document it seems like the staff is referring to a
19 higher probability of that. Can you clarify that
20 discussion?

21 MR. ANAND: Yes, I do remember that
22 discussion but I think I would like to take some help
23 from the staff if anybody can answer that question.
24 I think I'll take that question with me and come back
25 with the answer later.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN POWERS: Okay. I mean, I did not
2 go back and look at the applicant's analysis for an
3 explosion of being 4.7 times 10 to the -7th which
4 seems improbably low to me. I don't know. How about
5 you, Dr. Kress? Does that strike you as a low
6 probability for a hydrogen detonation?

7 DR. KRESS: It does, yes.

8 CHAIRMAN POWERS: I mean, just off hand
9 without looking at the details. On the other hand,
10 the corresponding calculation for the staff seemed a
11 bit high to me. If you could clarify that just a
12 little bit, I would appreciate that.

13 MR. ANAND: Thank you.

14 CHAIRMAN POWERS: It's not a terribly
15 important point but --

16 MR. ANAND: I'll take it with me. This is
17 a wrap-up slide, slide No. 23. The NRC staff issued
18 the Draft Safety Evaluation Report for SERI's
19 application on April 7, 2005. Open item responses on
20 the Draft Safety Evaluation Report is expected by June
21 21, 2005. We are looking forward to seeing interim
22 ACRS letter after we have briefed full Committee on
23 June 2, 2005. I would like to emphasize again that we
24 are on the right track and we will keep doing a good
25 job.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 This concludes my presentation and thank
2 you very much for listening to me.

3 CHAIRMAN POWERS: Let me ask you a couple
4 of questions. Your report clearly is very much in a
5 draft status right now. I assume things like the
6 population of Vicksburg, which is reported over a
7 range from 20,457 to 26,407. Those kinds of things
8 will get corrected.

9 MR. ANAND: Right.

10 CHAIRMAN POWERS: Now, your intention is
11 this concludes the staff's presentation?

12 MR. ANAND: Yes, sir.

13 CHAIRMAN POWERS: Okay. We can now turn
14 to this list of people you have available and ask
15 questions. Is that correct?

16 MR. ANAND: If you wish.

17 CHAIRMAN POWERS: Okay. In the
18 applicant's presentation he presented a variety of
19 prognostication information. For instance, he said,
20 "Gee, I've got an airport at Jackson. It's 65 miles
21 away and it's not an especially busy airport. I
22 checked with the FAA and they said the role of that
23 airport may change but the flight routes are going to
24 be about the same so I think I'm okay on that."

25 MR. ANAND: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN POWERS: How do you feel about
2 that?

3 MR. ANAND: I'm think I'm comfortable.

4 CHAIRMAN POWERS: Did you check with the
5 FAA and decide that the routes aren't going to change
6 and the role of Jackson's airport is going to be about
7 the same for the next 75 years?

8 MR. ANAND: We haven't checked with the
9 FFA. That will happen after 65 years or so.

10 CHAIRMAN POWERS: The last three
11 generations.

12 MR. ANAND: Right.

13 CHAIRMAN POWERS: If we looked at the
14 flight routes three generations ago and compared them
15 with today, I don't think we would find a great deal
16 of similarity.

17 MR. ANAND: At any stage we have a
18 process. When we find something which is beyond the
19 site capability, we have a right to visit that issue
20 and take appropriate action.

21 CHAIRMAN POWERS: The application takes a
22 -- presents some weather data, meteorological data,
23 and the staff took issue with particularly the high
24 and low temperatures. They said they had found some
25 data points that were a little higher and a little

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lower. They asked the applicant, "Gee, how come?"

2 MR. ANAND: Right. We had asked SERI.

3 CHAIRMAN POWERS: Okay. The larger issue,
4 of course, is, okay, you find these other data points
5 and it's very likely that the applicant will come back
6 and, for instance, he indicated that the higher point
7 he had thrown that out because he thought maybe it was
8 an outlier compared to closer-in data that he had
9 found and maybe he can explain that.

10 But it does raise the question on how
11 comprehensive the review of this historical weather
12 information was. Are you asking that question or are
13 you going further here to try to understand how
14 comprehensive the applicant's search for the weather
15 or doing your own search of the weather data?

16 MR. ANAND: May I take help from Brad
17 Harvey, please?

18 CHAIRMAN POWERS: I was going to get Brad
19 up here one way or another. You were doing too good
20 by yourself.

21 MR. ANAND: Brad is our expert on the
22 meteorology.

23 MR. HARVEY: Yes. I'm Brad Harvey with
24 NRR. One of the intents of that question was the
25 applicant had relied basically exclusively on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Jacksonville data to come up with historical
2 climatological data for the site region. Jacksonville
3 being 60 plus miles away from the site there were
4 other climatic data sources nearby that I thought they
5 should have looked at as well.

6 Based on the phone call we had with the
7 applicant last week, they are doing that in
8 anticipation of answering that open item. They are
9 also doing a statistical analysis of the data closer
10 in to project the 100-year return period, the maximum
11 and minimum temperatures for this site.

12 CHAIRMAN POWERS: That raises the question
13 of everybody is going to have to do this for an Early
14 Site Permit. They simply don't have data for that
15 particular plot of line they are going to look at.
16 They are going to have to look for other weather
17 stations that are located some distance further away.
18 The question comes about what is the criteria for
19 acceptability of a weather station? Is it just the
20 nearest one you can get or is there some other way
21 that we should codify looking at weather stations?

22 MR. HARVEY: There's a couple of things
23 you can do. Proximity is certainly an important
24 criteria, but also elevation of the site. Basically
25 higher site elevations are going to have cooler

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 temperature than those that are lower. Also you may
2 want to look at what the surrounding area is in terms
3 of whether it's an urban area versus a rural area.

4 In the particular case of Grand Gulf, the
5 applicant has opposed using meteorological data from
6 Port Gibson whose site is about five miles from the
7 Early Site Permit site. I think based on that and
8 similar elevation to the site, the ESP site, that is
9 probably not a bad choice.

10 CHAIRMAN POWERS: I like that answer, by
11 the way. That was a good answer. I think that might
12 be one thing that when we talk about lessons learned
13 that we need to provide guidance. It's not just
14 distance but location and other similarities to help
15 these guys when they choose weather stations around
16 things. Just pencil that in the margin.

17 MR. HARVEY: Point noted.

18 CHAIRMAN POWERS: Now let me ask you about
19 in the discussion -- I mean, maybe you're not the
20 right guy. If that's the case, I've got other
21 questions for you. In the discussion of tornadoes and
22 the tornadoes return frequencies --

23 MR. HARVEY: Correct.

24 CHAIRMAN POWERS: -- and things like that,
25 it says the staff looked at data over a period of 52

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 years during which there were 108 tornadoes and they
2 decided based on that that the recurrence interval was
3 2,860 years. The staff went through and did it and
4 they came up with a recurrence frequency of 1,350
5 years. But a tornado has hit this site.

6 MR. HARVEY: That's correct.

7 CHAIRMAN POWERS: Okay. I mean, do any of
8 these things have the Bayesian update based on that?

9 MR. HARVEY: The characteristic tornado is
10 based on basically a 10 to the -7th year probability
11 tornado. The tornado that hit the site was actually
12 a bit smaller than that in terms of its wind speed.
13 When that hit the site or hit five or 10 miles away,
14 I'm not sure the mathematical computations are going
15 to pretty much give you the same results. Basically
16 I think the staff looked at a one-by-one degree
17 latitude/longitude area and came up with statistics
18 for the Grand Gulf site.

19 CHAIRMAN POWERS: I guess it's a mystery
20 to me. I can understand doing that as the prior
21 distribution but as soon as something hits the site,
22 then don't you have to do a Bayesian update somehow?

23 MR. HARVEY: Again, I think it's
24 statistically what has happened within a large area
25 around the site and the proximity to the site is not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 part of the algorithms that go into predicting the
2 wind speeds. Again, when that happened at the site or
3 five miles from the site, the methodology does not
4 differentiate.

5 CHAIRMAN POWERS: I know, Dr. Kress, to
6 your relief, or maybe disturbance, there is nothing in
7 the SER that precludes this fault near the trailer
8 park. Correct?

9 DR. KRESS: That will change the frequency
10 in tornadoes.

11 CHAIRMAN POWERS: I'm sure it will. For
12 the weather, for the meteorology the thesis throughout
13 the meteorological discussion is that we will infer
14 what will happen in the next 65 years from what has
15 happened in the previous roughly 100 years. Sometimes
16 it's less than that and sometimes it's more than that.
17 Why do we believe that's true?

18 MR. HARVEY: Well, I think looking at the
19 history is probably a good precedent as any looking
20 forward.

21 CHAIRMAN POWERS: Why do you believe that?

22 MR. HARVEY: Why do I believe that?
23 Because of whatever features there are of the site.
24 Where it's located climatologically determines pretty
25 much past history is what you are going to project in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the future.

2 CHAIRMAN POWERS: When I look in the
3 popular press, and by that I include both newspapers
4 and Scientific American, I would say with respect to
5 meteorology the only thing I see are people predicting
6 the weather is going to get worse in some sense.
7 Either they predict it's going to get hotter, drier,
8 colder, wetter.

9 I mean, whatever happens to be the flavor
10 of the day but never did they say the previous 150
11 years is just going to be like the next 150 years.
12 They never said that. I have never seen an article
13 that says what the weather has been like in the past
14 is exactly what it's going to be like in the future.
15 It's always going in some way worse. Usually warmer
16 and warmer at this site probably translate into
17 wetter.

18 MR. HARVEY: Okay.

19 CHAIRMAN POWERS: I mean --

20 MR. HARVEY: There are predictions of
21 global warming but I'm not sure we're at the state of
22 the art right now that we can predict for a specific
23 location what the impact of climate change would be,
24 whether or not the temperature would go up or down,
25 get wet or dry. I think on average the temperature

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 predictions are going up around the globe but for
2 specific locations I'm not sure we're at the state of
3 the art that we can specifically predict what's going
4 to happen.

5 CHAIRMAN POWERS: In the time frame around
6 the multiple hurricane strikes that occurred in
7 Florida, certainly we saw numerous people saying,
8 "Yeah, hurricane frequency is going to go up over the
9 next 20 years." Okay. I presume those people had
10 some basis for saying that. Do you know what that
11 basis was?

12 MR. HARVEY: Probably the warming trend of
13 the oceans in the vicinity of that site since the warm
14 waters tend to be predicative of hurricane formation.

15 CHAIRMAN POWERS: Okay. Now, does that
16 impact what you estimate for this site?

17 MR. HARVEY: For this site, no, because
18 the site is fairly far inland over 150 miles from the
19 Gulf coast. Typically at least in high winds they
20 pretty much peter out when they get that far inland,
21 although you could see potentially maybe a little more
22 rainfall from those storms but I don't think they are
23 controlling rainfall events for that area.

24 CHAIRMAN POWERS: If the rainfall goes up,
25 presumably the snowfall goes up and then don't those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 things have some impact?

2 MR. HARVEY: Yes.

3 CHAIRMAN POWERS: I'm talking about 65
4 years. In some cases that longer than the data we
5 have available. For instance, your tornado base
6 apparently is only 53 years and we're talking about
7 65.

8 MR. HARVEY: Yes.

9 CHAIRMAN POWERS: I mean, it seems to me
10 it's difficult to use historical data to infer future
11 data.

12 MR. HARVEY: Well, we are talking about 65
13 years out into the future here. These are long-term
14 trends that the global warming is talking about that
15 is going to be significantly longer than that. The
16 one point I do want to make is that a lot of our
17 review of what the applicant has given us is reviewed
18 against some industry standards for snow loads, wind
19 loads, extreme temperatures, and so forth and so on.

20 Basically we are using these societies,
21 ASHREI being one of them as an example. What they are
22 predicting basically is 50-year projections of what
23 these climatic variables will be. We asked the
24 applicant to actually extrapolate that to 100-year
25 return period so there is some margin put in there.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Also we would expect that the state of the
2 art evolves to a point where in the future they revise
3 these type of studies to predict more extreme values
4 before the COL applicant comes in. Then 52.39 allows
5 the ESP application to be reopened to address the fact
6 that now the site has migrated beyond what the
7 original description of the site was in the ESP
8 permit.

9 I think the applicant already has
10 mentioned in their presentation that they are looking
11 at advances in climatology before they come in with
12 the COL and the staff will be doing the same to see if
13 what we predicted at the site at this point in time is
14 still appropriate at the time they come in for the
15 COL.

16 CHAIRMAN POWERS: Professor Wallis, did
17 you want to better understand the freezing of the
18 ultimate heat sink?

19 DR. WALLIS: I'm a bit surprised the
20 temperatures get so low there.

21 MR. HARVEY: I think, as the applicant
22 pointed out, not for a very long duration. The one
23 site characteristic that we ask them to provide which
24 is potential for freezing in the water storage
25 facility for the ultimate heat sink, I think, over the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 phone are suggesting using cumulative degree days
2 below freezing for a criteria to design against the
3 formation of ice. They are talking about less than
4 100 degrees for that.

5 DR. WALLIS: This is a well-established
6 way of determining whether or not things freeze?

7 MR. HARVEY: I believe --

8 DR. WALLIS: An ad hoc thing developed for
9 this site.

10 MR. HARVEY: Come again? I'm sorry.

11 DR. WALLIS: Is this a well established
12 way of making this prediction about whether or not a
13 body of water will freeze or how much and so on?

14 MR. HARVEY: Yes.

15 DR. WALLIS: It's well established
16 technology. Okay. How snow are you predicting as a
17 worse case here?

18 MR. HARVEY: The applicant had mentioned
19 worse case storm, 24-hour storm, like 10.5 inches.

20 DR. WALLIS: 10.5 of wet snow?

21 MR. HARVEY: Yes.

22 MR. ROSEN: I had that in my backyard this
23 winter.

24 CHAIRMAN POWERS: Yeah. Tennessee gets
25 that quite often. Usually I hear about these storms

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in Tennessee when we need it up in the northeast.

2 CHAIRMAN POWERS: Ten and a half inches
3 would destroy Tennessee. What I don't understand is
4 the argument that they are saying, okay, presume you
5 have the snowpack. It's the 100-year so it's 11.14
6 inches or something like that. Now tell me what your
7 maximum 48-hour snow is going to be.

8 MR. HARVEY: Maximum winter precipitation.

9 CHAIRMAN POWERS: It seems to me that is
10 quite a conservative approach. It might be useful if
11 you were locating a plant where Dr. Wallis lives
12 because that could occur, but here I can't imagine an
13 event that you would have an 11-inch snowpack and
14 another 48 hours adding to that.

15 MR. HARVEY: Staff doesn't necessarily
16 disagree with you on that. Their approach is based on
17 a branch technical position that was published back
18 about 30 years ago now where we are defining a normal
19 snow load and extreme environmental snow load. A
20 normal snow load is based on a 100-year return period
21 snowpack and extreme environmental load takes the 100-
22 year return period snow pack plus the 48 hour probable
23 maximum winter precipitation. Now, we are just asking
24 the applicant to present these as site
25 characteristics.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 They can choose up to COL stage when they
2 have an actual design to present to argue that these
3 are unreasonable snow loads based on the design of the
4 roof. I would think that is the appropriate time to
5 make that argument. Again, these are just site
6 characteristics. How they impact the design is more
7 of a COL item.

8 CHAIRMAN POWERS: I understand. It just
9 looks incongruous.

10 MR. HARVEY: You're correct. We don't
11 think this is the right time to make that argument.
12 When you have an actual design in place, they can then
13 come forward with an argument.

14 CHAIRMAN POWERS: The other members had
15 questions they would like to pose.

16 MR. ROSEN: Well, I have just a couple of
17 comments to refresh what I've been asking about and
18 discussing if I may. With respect to bluff
19 subsidence, which we talked about a lot, I understand
20 that what has been committed here is that safety
21 related structures will be set back to avoid bluff
22 subsidence affects.

23 If that's not my understanding, then
24 correct me. If that is so, I guess that means that is
25 a condition of the license or the staff will impose

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that as a condition of the license, or will you leave
2 that up to the applicant to follow through with his
3 promise?

4 MR. ANAND: It's my understanding that
5 this will be a COL action.

6 MR. ROSEN: So that when the COL comes in
7 you will assure yourself that there is enough setback.

8 MR. ANAND: Right.

9 MR. ROSEN: Okay. We talked a little bit
10 about transmission reliability and grid reliability.
11 I must confess that I felt that the answers were less
12 than fully satisfactory. I would hope that we would
13 have a much more thorough explanation of those
14 subjects, if not for the full Committee than certainly
15 by the COL.

16 MR. ANAND: Definitely, sir.

17 MR. ROSEN: I also felt that this
18 discussion of the Quachita River lineament was
19 extended to the southeast. We talked about that.

20 MR. ANAND: Correct.

21 MR. ROSEN: It's very close to the Grand
22 Gulf site.

23 MR. ANAND: Right.

24 MR. ROSEN: I did not either understand or
25 put much credence to the answers that were given as to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 why one wouldn't be able to say that Quachita River
2 lineament approached much closer to the site than was
3 shown on the drawings.

4 CHAIRMAN POWERS: And if it did?

5 MR. ROSEN: Well, I don't know. I never
6 got to that question. I suppose I should ask that
7 first but I didn't. I asked the other one first, what
8 if it got there. It looks like there's no good
9 argument to say it didn't get there, but I would be
10 willing to listen to the argument of what if. That
11 wasn't offered.

12 CHAIRMAN POWERS: I mean, if you've got --
13 it seems to me you've got no historical seismicity in
14 the area to sustain any consequence to it.

15 MR. ROSEN: Well, I would be willing to
16 listen to that argument but I don't think it was
17 offered.

18 CHAIRMAN POWERS: It's offered in depth in
19 the seismic section.

20 MR. ROSEN: It wasn't offered here.

21 CHAIRMAN POWERS: Yeah, but in the seismic
22 discussion in both the submission and in the SER. You
23 will be persuaded that if you are earthquake adverse,
24 this is the site to flock to. It will make Houston
25 look like a part of southern California. Any other

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 comments?

2 DR. KRESS: Yeah, if I may, because I've
3 got to leave. I meant to ask, I guess, Jay Lee, Grand
4 Gulf was one of the new Reg. 1150 reports where they
5 did basically for the Grand Gulf plant itself
6 uncertainty in the Level 3. I was wondering if, No.
7 1, if any of that information was used to judge site
8 suitability or, as a more general question, does Level
9 3 uncertainties and number of plants on the site have
10 any rolling site suitability of this type?

11 MR. LEE: The Level 3 analysis is done in
12 the environmental report and we used that in preparing
13 the environmental impact statement.

14 DR. KRESS: I see. That's where we would
15 go to see that.

16 MR. LEE: Yes.

17 DR. KRESS: Okay. We don't review the
18 environmental impact statement here, do we?

19 MR. LEE: I don't believe you do in the
20 HRS.

21 CHAIRMAN POWERS: There's no reason that
22 we can't, we just don't.

23 DR. KRESS: Um-hum. Do you guys look at
24 it?

25 MR. LEE: Yes, we do.

1 DR. KRESS: Okay. I guess that was the
2 only question I had. I've got to leave.

3 CHAIRMAN POWERS: Thank you for attending
4 the portion that you could, sir.

5 Okay, we come now to the point where we
6 need to give both the staff and the applicant some
7 background on what to present to the full Committee.
8 It seems to me that we need to agree among yourselves
9 who will present the site description. Then I would
10 suggest that a status report on the slides you
11 presented where you said the areas of agreement.

12 MR. ANAND: Yes.

13 CHAIRMAN POWERS: All right. Three or
14 slides earlier than where you stand right now. This
15 summary list on 19 of where the open items were is
16 kind of the essential information. I'll look to the
17 other members to offer their advice. I think the maps
18 and what not that were presented during the
19 applicant's presentation were excellent for giving
20 somebody an idea of what the site looks like.

21 It seems to me that the cross sectional
22 information showing the soil column and the conclusion
23 that that soil is dense and undisturbed for long
24 periods of time is a crucial piece of information.
25 But getting to it should be done quickly. You have an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 excellent visual that shows it.

2 DR. WALLIS: Listening to you I was given
3 the impression the applicant would describe the site
4 and then the staff with the survey of issues and so
5 on. I felt that there was more technical information
6 than what the applicant presented. Technical
7 information should be put across.

8 CHAIRMAN POWERS: It seems to me -- I
9 mean, they have to do some sort of a balance but it
10 seems to me that these maps that show the site and the
11 cross section and the fact that the seismology is --

12 DR. WALLIS: Technical evidence.

13 CHAIRMAN POWERS: -- minimal around the
14 site are two pieces of crucial information. Then the
15 summary slides that you present that say, "Hey, we
16 can't make any statements now about the acceptability
17 of the site but we can say in these segmented areas we
18 can draw some conclusions."

19 Then you have this slide 19 which says,
20 "We've still got open items, 23 open items in these
21 various areas," which constitutes a core presentation
22 that would give the rest of the Committee kind of the
23 essential picture of things.

24 DR. BONACA: How much time do we have for
25 the full Committee?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. EL-ZEFTAWY: Hour and a half.

2 CHAIRMAN POWERS: Hour and a half. We are
3 a little bit shorter this time because June is a
4 horrible month for us.

5 DR. BONACA: Also these slides of the
6 earthquakes.

7 CHAIRMAN POWERS: Yeah, the historical
8 seismography slide.

9 DR. BONACA: Two of them that you are
10 pointing out, the land there and the soil information,
11 and then the seismicity.

12 CHAIRMAN POWERS: I think most people
13 react to this site by saying it's mud. You come back
14 and say this is relatively hard mud that is
15 undisturbed. I think that is an extremely important
16 point. It hasn't moved and there is nothing moving.
17 That I thought was effective.

18 Any other points that people would like to
19 make?

20 DR. WALLIS: How long do they need for
21 this?

22 CHAIRMAN POWERS: Say again?

23 DR. WALLIS: How long does this
24 presentation need to be?

25 CHAIRMAN POWERS: Well, they are offered

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a time slot of an hour and a half and instructed that
2 45 minutes is available for presentation and 45
3 minutes for questioning. If they are smart, they will
4 avoid like crazy bringing up anything on the
5 probabilistic hazard analysis except for the results.
6 The process they should avoid least they get an
7 education in some of the subtleties.

8 DR. WALLIS: The applicant has something
9 like 20 minutes maybe?

10 CHAIRMAN POWERS: Well, I'll leave it to
11 the staff and the applicant to work that out between
12 the two of them.

13 Are there any other comments that people
14 would care to make?

15 DR. BONACA: I accept the point about
16 looking at future conditions rather than the past.
17 Not for this application here but as a mind set for
18 projecting bounding. I mean, people are bounding your
19 future predictions and you are assuming that the past
20 will give you the bounding lines. Moving from that
21 mind set may be valuable in general as a review.

22 You may find that one particular parameter
23 should be maybe expanded out because also you have to
24 bound some higher value there. I don't know what
25 parameter now but I'm saying that it's just a question

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of a mind set that I think has to be changed a little
2 bit.

3 DR. WALLIS: I think you may be trending
4 the weather. I mean, if you could show that the
5 higher temperature increased.

6 CHAIRMAN POWERS: Nobody has been able to
7 do that. I am promised we are going to get a letter
8 that is going to explain to us why they should not do
9 that. Any other comments? Thank you all.

10 MR. ANAND: Thank you very much.

11 CHAIRMAN POWERS: These are challenging
12 documents to prepare as the application is challenging
13 to review and terribly challenging for the members to
14 read. I think you have done about as well across the
15 board as anybody could do. With that I will adjourn
16 us.

17 (Whereupon, at 1:07 p.m. the meeting was
18 adjourned.)

19
20
21
22
23
24
25

1
2
3
4
5
6
7
8