

# Official Transcript of Proceedings

## NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards  
Thermal-Hydraulic Phenomenon Committee

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Tuesday, February 15, 2005

Work Order No.: NRC-228

Pages 1-433

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS (ACRS)

SUBCOMMITTEE ON THERMAL-HYDRAULIC PHENOMENON

+ + + + +

TUESDAY,

FEBRUARY 15, 2005

+ + + + +

The meeting was convened in Room T-2B3 of  
Two White Flint North, 11545 Rockville Pike,  
Rockville, Maryland, at 8:30 a.m., Dr. Victor H.  
Ransom, Chairman, presiding.

MEMBERS PRESENT:

- VICTOR H. RANSOM Chairman
- GRAHAM B. WALLIS Vice Chairman
- RICHARD DENNING ACRS Member
- F. PETER FORD ACRS Member
- THOMAS S. KRESS ACRS Member
- JOHN D. SIEBER ACRS Member

ACRS STAFF PRESENT:

- RALPH CARUSO Designated Fed. Official
- CHRIS MURRAY RES
- RALPH LANDRY NRR/DSSA/SRXB
- WILLIAM BURTON RES/DSARE/SMSAB

1	SHAWN MARSHALL	RES/DSARE/SMSAB
2	JOSEPH STAUDENMEIER	RES/DSARE/SMSAB
3	JOE KELLY	RES/DSARE/SMSAB
4	JIM HAN	RES/DSARE/ARREB
5	ALEXANDER VELASQUEZ	RES/DSARE/SMSAB
6	WILLIAM KROTIUK	RES/DSARE/ARREB
7	DONALD CARLSON	RES/DSARE/ARREB
8	CHESTER GINGRICH	RET/DSARE/SMSAB
9	AMY HOLL	NRR/DRIP/RLEP-B
10	<u>ALSO PRESENT:</u>	
11	CLAUDIO DELFINO	ISL, INC.
12	TOM DOWNAR	PURDUE UNIVERSITY
13	JOHN MAHAFFY	PENN STATE UNIVERSITY
14	NORMAN YEE	SELF
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

AGENDA ITEM

PAGE

WELCOME/OPENING REMARKS:

Victor Ransom . . . . . 4

OVERVIEW:

Joseph Staudenmeier . . . . . 9

TRACE FILM CONDENSATION MODEL & CONDENSER COMPONENT:

Joe Kelly . . . . . 22

OVERVIEW OF TRACE STATUS:

Joseph Staudenmeier . . . . . 132

PARCS STATUS & DEVELOPMENT:

Tom Downar . . . . . 206

TRACE ANONYMOUS LETTER NUMERICS ISSUES:

John Mahaffy . . . . . 260

TRACE ANONYMOUS LETTER CODE VERIFICATION:

Christopher Murray . . . . . 370

SNAP STATUS & DEVELOPMENT ACTIVITIES:

Chester Gingrich . . . . . 411

ADJOURN:

Victor Ransom . . . . . 433

P-R-O-C-E-E-D-I-N-G-S

8:31 a.m.

CHAIRMAN RANSOM: The meeting will now come to order. This is the meeting of the Advisory Committee on Reactor Safeguards Subcommittee on Thermal-Hydraulics Phenomenon. I am Victor Ransom, Vice Chairman of the Subcommittee. Thank you. Subcommittee Members in attendance are Tom Kress, Graham Wallis, Jack Sieber and Peter Ford. The purpose of this meeting is to review the continuing development of the TRACE Thermal-Hydraulic Computer Code.

The Subcommittee will hear presentations by and hold discussions with representatives and the NRC Staff and our contractors regarding these matters. The Subcommittee will gather information, analyze relevant issues and facts and formulate proposed positions and actions as appropriate for deliberation by the full Committee. Ralph Carusso is the designated federal official for this meeting.

The rules for participation in today's meeting have been announced as part of the notice of this meeting previously published in the Federal Register on January 31, 2005. A transcript of the meeting is being kept and will be made available as

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 stated in the Federal Register Notice.

2 It is requested that speakers first  
3 identify themselves and speak with sufficient clarity  
4 and volume so that they can be readily heard. I have  
5 not received any requests from members of the public  
6 to make oral statements or written comments. We  
7 appreciate the cooperation of NRC research in  
8 volunteering today's agenda and sharing with us the  
9 status and some of the details of the TRACE Code  
10 Development Project.

11 The ACRS has supported the objectives of  
12 this project from its initiation and we feel that it  
13 is very important to the mission of the NRC. That  
14 said, we are concerned about the length of time it is  
15 taking for this project to make a significant  
16 contribution to safety and licensing issues. During  
17 the past three years, we have encountered several  
18 instances in which application of verified and unified  
19 NRC Thermal-Hydraulic Analysis capability could have  
20 resulted in a more straightforward resolution of  
21 safety issues.

22 In particular, we are interested in  
23 hearing about what technical challenges are being  
24 encountered and the prospects for a timely resolution  
25 of these. Plans or prospects were overcoming some of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the traditional problems of two phase codes like, for  
2 example, stability, diffusion, numerical anomalies,  
3 etcetera. The third plan is for incorporating  
4 uncertainty information associated with basic  
5 formulations and constituent of models. And finally,  
6 development of techniques for performing probabilistic  
7 calculations for making risk informed licensing and  
8 safety decisions.

9 We realize that not all of these subjects  
10 will be covered today and we will look forward to  
11 future interaction to learn more about the ultimate  
12 potential of this project. We will now proceed with  
13 the meeting, and I call on Mr. Staudenmeier of the NRC  
14 Staff to begin.

15 MR. STAUDENMEIER: I just want to turn it  
16 over for a minute or so to my section chief, Butch  
17 Burton. He is new to our organization and has took  
18 over as section chief back in August.

19 MR. BURTON: Thanks, Joe. Good morning,  
20 as Joe mentioned, my name is Butch Burton and I  
21 currently serve as the Chief of the Code Development  
22 Section in the Office of Research. My branch chief,  
23 Pat Baranowsky, as well as my division director,  
24 Farouk Eltawila, could not attend today and they do  
25 send their regrets. I do want to thank you for giving

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 us the opportunity to share with you the work that we  
2 have been doing with regard to the TRACE Thermal-  
3 Hydraulic Code.

4 Mr. Chairman, you already identified both  
5 the purpose and the objective of the meeting. I just  
6 wanted to give a little bit of history, which I'm sure  
7 you're already familiar with, as we begin. As you  
8 know, historically, the Agency had four primary  
9 Thermal-Hydraulic Codes, including RELAP, TRAC-P,  
10 TRAC-B and RAMONA, which provided analyses of both  
11 small and large break LOCAs for BWRs and PWRs.

12 Maintaining these codes required separate  
13 software and multiple knowledge bases. In addition,  
14 these older codes did not take advantage of the  
15 considerable advances in computer technology, because  
16 maintaining separate codes was neither efficient nor  
17 effective, the Agency decided in the mid '90s to  
18 consolidate the capabilities of these codes into one  
19 code called the TRAC RELAP Advanced Computational  
20 Engine or TRACE.

21 By consolidating these codes and  
22 developing a common graphical user interface,  
23 considerable efficiencies could be attained. The  
24 staff believes that by consolidating the four codes  
25 into one all purpose code and incorporating into the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 consolidated code advanced numerics, neutronics and  
2 thermal-hydraulic models as well as improved user  
3 interfaces, the TRACE Code could serve as the primary  
4 Thermal-Hydraulic Code that the Agency can use to more  
5 effectively and efficiently audit vendor and licensee  
6 analyses of new and existing designs, establish and  
7 revise regulatory requirements, study operating events  
8 and otherwise develop and support technically sound  
9 safety decisions.

10 Today you will have the opportunity to  
11 hear from the Agency staff and contractors who have  
12 the lead roles in developing TRACE. You will hear  
13 about the latest work being done in the areas of  
14 advanced numerical methods, neutronics, graphical user  
15 interfaces, code verification and quality assurance  
16 and model development. I hope you will find the  
17 presentations informative and now I'll turn it over to  
18 Joe.

19 VICE CHAIR WALLIS: Well, we're going to  
20 hear about the latest work being done. We're going to  
21 hear about use of the code for practical purposes.

22 MR. BURTON: Absolutely. One of the  
23 things that we will talk about is how we have been  
24 using the code in the current applications.

25 VICE CHAIR WALLIS: They are supposed to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 make the Agency more effective and efficient. Is it  
2 doing that?

3 MR. BURTON: Well, as you'll see from the  
4 presentations, some of the applications of the code,  
5 you'll see that we are trying to use the code to make  
6 safety decisions on a real time basis. You will see  
7 that.

8 VICE CHAIR WALLIS: Okay. Good. Thank  
9 you.

10 MR. BURTON: Yes.

11 MR. STAUDENMEIER: Okay. I just want to  
12 give a quick few minute overview of what is coming up  
13 for the day. For meeting objectives, we wanted to  
14 provide an overview and current status of our code  
15 development effort. Another big thing we want to do  
16 today is address issues raised in the anonymous letter  
17 that was sent to the ACRS and forwarded to us, so this  
18 is our public response to the anonymous letter, since  
19 our written response was kept as sensitive Agency  
20 material apparently or wasn't allowed to be released  
21 to the public, and provide information on new and  
22 future physical model and numerical methods  
23 development in TRACE.

24 We have new management organization in the  
25 part of research where we work. Farouk Eltawila is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 still our division director. As Butch said, Pat  
2 Baranowsky is our new branch chief. He took over from  
3 Jack Rosenthal back in November and Butch Burton is  
4 now our new section chief for the Code Development  
5 Section.

6 VICE CHAIR WALLIS: So what's more  
7 important is who is doing the work? I mean, who is  
8 underneath these people?

9 MR. STAUDENMEIER: That's true, I guess.

10 VICE CHAIR WALLIS: How many people do you  
11 have?

12 MR. STAUDENMEIER: It's shaped like a  
13 pyramid, you know, the big support base at the bottom  
14 of this diagram gives --

15 VICE CHAIR WALLIS: So there are people  
16 actually below this level here?

17 MR. STAUDENMEIER: Yes.

18 VICE CHAIR WALLIS: How many are there?  
19 How many are there down there?

20 MR. STAUDENMEIER: Well, let's see, we  
21 have five people in the section that spend at least  
22 part of their time on TRACE and SNAP, and at ISL we  
23 have a contractor who works most of the time on TRACE  
24 in terms of co-ed support, so we have one essentially  
25 full time body at ISL. Out at Purdue we have our

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 PARCS Development Effort going on at Purdue, that  
2 level is, in terms of dollars, less than an FTE at a  
3 contractor.

4 VICE CHAIR WALLIS: One graduate student  
5 or something like that?

6 MR. STAUDENMEIER: Yes, graduate students  
7 under Professor Tom Downar. At Penn State we have  
8 John Mahaffy doing base numerical development. Also  
9 at ISL, we have some assessment going on. We have  
10 code assessment going on and also some ACR-700  
11 specific development at ISL, which if ACR-700, if we  
12 continue on over a year, we will have spent about  
13 three FTEs on --

14 VICE CHAIR WALLIS: So the only full-time  
15 person is the ISL person? The other people are all  
16 part-time and get diverted onto other things?

17 MR. STAUDENMEIER: Yes, essentially. I  
18 mean, we essentially have one base level person at ISL  
19 and the rest are added on for specific projects.

20 CHAIRMAN RANSOM: Are there any other  
21 personnel at Penn State helping John?

22 MR. STAUDENMEIER: He has students  
23 occasionally that work with him. At one time we had  
24 another staff member at ARL at Penn State working  
25 part-time on a project, but in terms of professional

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 staff, actually, we added another professional staff  
2 person at ARL recently that is going to start doing  
3 some work, at least part-time.

4 MR. FORD: Just to follow on, you said  
5 essentially there are three full-time employees  
6 overall working on this contract and in-house. Does  
7 that signal a fact that you are pretty well close to  
8 completion?

9 MR. STAUDENMEIER: Well, it depends on  
10 what you mean by completion. I mean, we can use the  
11 code for some things now. I mean, there is like  
12 things like ACR-700, if you want to use it for ACR-  
13 700, there is quite a lot a bit of work to do to the  
14 code to use it for ACR-700. ESBWR, we're wrapping up  
15 some development for ESBWR. We need to do some  
16 assessment on that. There is more than three. I  
17 would say if you count full-time equivalence, it's  
18 maybe on the order of five if you add up all the part-  
19 times.

20 MR. FORD: But of those five full-time  
21 employees, how many are actually doing, other than  
22 managerial sort of contract oversight type of  
23 activities?

24 MR. STAUDENMEIER: I'm talking about real  
25 code development.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FORD: Oh, okay.

2 MR. STAUDENMEIER: Not the -- like myself,  
3 I'm nominally doing code development. My job is to do  
4 code development, but over the past year, it has  
5 probably been a third of my time doing code  
6 development.

7 MR. FORD: Okay.

8 MR. STAUDENMEIER: Probably and the other  
9 two-thirds doing miscellaneous things. Someone like  
10 Joe Kelly has spent most of his time doing code  
11 development over the past year.

12 MR. FORD: Okay.

13 MR. STAUDENMEIER: And it depends on the  
14 person you are talking to and what year it is on how  
15 much of their time has been spent on code development.

16 CHAIRMAN RANSOM: Could you comment on the  
17 effectiveness of this sort of splintered operation  
18 where you've got several organizations involved? And  
19 I know personally from my past experience that it was  
20 a lot easier when you had a cohesive group that was  
21 working on something, and so I'm wondering how  
22 effective is this?

23 MR. STAUDENMEIER: I don't think we have  
24 problems with different organizations working on it.  
25 What runs into problems is when we have like over the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 past year we have had a lot of different developing  
2 going on for different projects and sometimes you hit  
3 a choke point and if a lot of people want to get  
4 updates into the code at the same time just because  
5 we've become limited by Chris Murray's time, who isn't  
6 always spent full-time on code development, you know,  
7 this past year we have had to spend a lot of -- he  
8 spent a lot of time on computer security.

9           They took our Linux cluster off the main  
10 network because of security reasons and we had to  
11 develop a security plan to get it back on and a lot of  
12 his time was taking up during that.

13           VICE CHAIR WALLIS: You mean TRACE is  
14 something that might be used for evil purposes?

15           MR. STAUDENMEIER: Well, I think it's more  
16 or less us corrupting their network, I think. So with  
17 TRACE being a virus that will spread out and take over  
18 the rest of the NRC network.

19           CHAIRMAN RANSOM: Well, is NRC the code  
20 architect? The one who keeps the code?

21           MR. STAUDENMEIER: NRC maintains the code.  
22 Chris Murray, who will speak later, is in charge of  
23 code configuration control. He is in charge of  
24 putting all the updates in the code and running  
25 through the testing and putting out a code version.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Like if you were to look now at our holding bin of  
2 things waiting to go in the code, there is probably  
3 about 10 to 15 items. And it always sits there at  
4 about that 10 to 15 items level and we prioritize as  
5 to what is holding up code development the most or  
6 holding up a release that we're planning on getting  
7 out on his priority in getting in different options.

8 VICE CHAIR WALLIS: Do you keep track of  
9 the number of hours that TRACE is actually used for  
10 regulatory purposes?

11 MR. STAUDENMEIER: Keep track? I don't  
12 know if anybody really keeps track of how much it is  
13 used for regulatory purposes. I mean, NRR,  
14 essentially, has used it for ESBWR. I don't know what  
15 else they have used it for, what applications they  
16 have used it for other than that. In-house, we have  
17 used it for steam generator blowdown loads. We're  
18 going to be using it for 50.46 brake size  
19 redefinition. We're using it in terms of ACR-700, it  
20 hasn't been used for any licensing calculations yet,  
21 but calculations performed with it have supported the  
22 ACR-700 review to date as to helping people ask  
23 questions and things like that.

24 Actually, maybe it might be better to  
25 postpone some of these questions to my later

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 presentation, the overview of NRC code development.  
2 I just meant this is a short introduction right now  
3 and to go over what is going to follow for the rest of  
4 the day. Joe Kelly is going to be up next talking  
5 about the new TRACE Condensation Models that he  
6 developed for ESBWR analysis. He will give an  
7 overview of the overall TRACE Code Development effort.

8 Professor Tom Downar is going to talk  
9 about PARCS status and development. Professor John  
10 Mahaffy will talk about issues related to the  
11 anonymous letter and other numeric issues associated  
12 with TRACE, numerics development issues. Chris Murray  
13 will talk about the TRACE QA and configuration control  
14 and issues related in that related to the anonymous  
15 letter. And to end the day, Chester Gingrich will  
16 talk about the status of SNAP.

17 VICE CHAIR WALLIS: Well, is TRACE  
18 available to the public?

19 MR. STAUDENMEIER: Yes, TRACE is.

20 VICE CHAIR WALLIS: A university could get  
21 it and use it if it wanted to?

22 MR. STAUDENMEIER: Yes, a university can  
23 get it and use it. Actually, John Mahaffy uses it to  
24 teach an analysis, systems analysis class at Penn  
25 State.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 VICE CHAIR WALLIS: How much of success  
2 might be that you had a 100 clients out there actually  
3 using this?

4 MR. STAUDENMEIER: Yes, we do have some  
5 people. There are some camp members who have started  
6 using TRACE, so it's starting to get adopted. One  
7 barrier to adoption is training. We haven't had TRACE  
8 training yet, but we are having that in March. So  
9 that will help bring more people in to using TRACE.

10 VICE CHAIR WALLIS: A good code doesn't  
11 need too much training.

12 MR. STAUDENMEIER: Well, a lot of people  
13 have asked for it. Okay.

14 CHAIRMAN RANSOM: One question I would  
15 like to raise. You know, you mentioned you are going  
16 to address these anonymous letters, which is fine.  
17 But I'm wondering wouldn't it be better if you  
18 actually went out and got some peer review yourself,  
19 you know, some experts in the field who would do a  
20 more detailed review and then give feedback? You  
21 know, the anonymous things have the problem that  
22 generally the details are not dug into. Maybe we will  
23 hear a little more today about what you make of that.  
24 But I personally feel that if you subjected the code  
25 to peer review by some experts who spend enough time

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 on it, you know, that they could give an informed  
2 judgment about the methods that are being used. That  
3 would provide you with a lot more ammunition, I think,  
4 that you're on the right track so to speak.

5 MR. STAUDENMEIER: Yes, actually, we would  
6 like to have peer review for the code, I think, before  
7 we put it out for, I guess, what you would call the  
8 official public release, which we think will take  
9 place in about two years from now, with assessment and  
10 complete documentation. I think that once we settle  
11 on all the features that are going in there and get a  
12 set of base documentation, I think that's the time to  
13 get peer review to go along with the release.

14 Right now, I think things are still in  
15 development and moving to really have peer review,  
16 because we don't have finalized documentation yet and  
17 we need good final documentation, I think, to get good  
18 peer review.

19 CHAIRMAN RANSOM: One of the problems with  
20 waiting until you're -- that late is if they do come  
21 up with something that would be helpful, then it  
22 becomes much more difficult to incorporate that into  
23 your development.

24 MR. STAUDENMEIER: Yes, I guess, that's  
25 one way to look at it. I don't think that there would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 be any serious things that would be found in a peer  
2 review. I think the weakest thing now is our models  
3 and correlations have changed quite a bit or are  
4 changing and haven't undergone assessment and shaking  
5 out of errors yet. So that's probably the weakest  
6 point of the code right now, I think.

7 In terms of numerics, if we're getting the  
8 wrong answers, then every other code out there is  
9 getting the wrong answers, because we all get similar  
10 answers on similar problems. So I'm not real worried  
11 about some big hidden trap in our numerical methods  
12 that we're for some reason getting answers that are  
13 totally out of whack and mispredicting reactor safety.  
14 But peer review is something that we want.

15 Right now, we really are a resource  
16 limited development effort and that's something that  
17 will have to be budgeted for for research. Everybody  
18 likes peer review. Nobody likes to budget for peer  
19 review, but that's something that we will have to  
20 budget for in the future and get it in. I will  
21 propose it and we'll see what happens when management  
22 reviews the budget before it goes out and sees if they  
23 will budget for peer review.

24 VICE CHAIR WALLIS: If you look at  
25 commercial codes in say CFD, they were all very

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 similar, all very similar in purpose and origin. But  
2 the ones that are successful are the ones that offer  
3 a lot of customer support. They listen to their  
4 clients. They have good user manuals. They have good  
5 training. And the code is then easy to use. And it  
6 seems to me you guys are developing something you  
7 like, you may be missing, so the key to success of  
8 this whole thing, which is to produce something that  
9 users are going to like.

10 MR. BURTON: Can I speak to that?

11 VICE CHAIR WALLIS: Yes.

12 MR. BURTON: As mentioned, I just joined  
13 the development team relatively recently. And I think  
14 one of the benefits of that is to be able to look at  
15 the whole process sort of with fresh eyes. One of the  
16 things that I have noted is that there is a certain  
17 lack for resource limiting reasons as well as some  
18 others, that there is a lot of room to improve in the  
19 development process.

20 Chris is going to talk when he comes up to  
21 talk about the development lifecycle for the code and  
22 I will tell you that there are challenges in terms of  
23 being sensitive to the end user of the product. So  
24 what I hope to do over the next few months is to  
25 develop a transparent process and procedure to start

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 with doing accurate needs assessment with regard to  
2 the end users of the product, what needs to be done in  
3 terms of assessing whether those functions and  
4 features that are being requested are, in fact, in  
5 place and to do the necessary model development, code  
6 testing and all the other things that need to be done  
7 to ensure that we actually reach that end state.

8 To begin with the end in mind and in  
9 effect and to make that process more transparent. So  
10 those are the things that we hope to do in the near  
11 future.

12 MR. STAUDENMEIER: Yes, I guess one other  
13 comment is I would say the limiting thing in learning  
14 to use TRACE isn't the learning curve in actually  
15 functionally using TRACE and doing calculations, it's  
16 much harder to understand the underlying two phase  
17 flow and physics in the calculations and understanding  
18 what the calculations mean, than it is to use the  
19 code. We have had people come over to use the code on  
20 rotations and also people out in John Mahaffy's  
21 classes. He teaches at Penn State.

22 People will pick up the code and start  
23 running it within a few days or a week and can  
24 functionally do things that, you know, you want them  
25 to do without a great deal of difficulty.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Understanding the results is another matter though.  
2 You need a lot of training, years of training and  
3 experience to understand the results that are coming  
4 out.

5 VICE CHAIR WALLIS: It is portable to many  
6 platforms, is it?

7 MR. STAUDENMEIER: Yes, it is a portable  
8 code and I'll talk about that in my next presentation.

9 MR. MAHAFFY: Okay. This is John Mahaffy.  
10 I would like to make one comment on ease of use. As  
11 he indicated, I've used this in a power plant  
12 simulation class. It's just a basis to get some  
13 simulations that they then learn how to think about  
14 sensibly and college seniors, they really have had no  
15 problems producing results from the code. You know,  
16 taking a geometry, implementing it and looking at some  
17 answers.

18 And to NRC's credit, they have even had  
19 the developers of the front end come to my class to  
20 watch the students do what they do to even try to  
21 refine the intuitive features of the front end. It  
22 has been a pretty good experience for students who  
23 really have had no experience whatsoever with the  
24 simulation environments before.

25 VICE CHAIR WALLIS: Thank you. That's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 really informative.

2 MR. KELLY: Sometimes it seems like the  
3 transparencies were easier.

4 VICE CHAIR WALLIS: Just don't let it go  
5 into hibernation mode. We did that last week and we  
6 couldn't get it back.

7 MR. KELLY: And I guess I need the  
8 microphone, because I'm going to talk on my feet.  
9 It's one way to lose it. I was originally scheduled  
10 to go later this afternoon, probably in case I went  
11 overtime as I normally do, but because of personal  
12 reasons I need to leave early today, and so people  
13 were nice enough to reschedule me first thing in the  
14 morning. So I'll try not to go too far behind.

15 MR. KRESS: You don't have any trouble  
16 over there, but we'll see that you get going.

17 MR. KELLY: Okay. What I'm going to be  
18 talking about today is condensation with non-  
19 condensibles and we're doing this for the PCCS  
20 component at ESBWR. And as you may remember, I talked  
21 to you about this about a year ago and that's when I  
22 did most of this development work. But then the model  
23 sat on the shelf and languished for a while, not being  
24 put into the code basically because of contractor  
25 unavailability to do the work. But we have started in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 TRACE recently and so this is my first opportunity to  
2 come back and show it to you.

3 Okay. I'm going to give the presentation  
4 based between three parts, an introduction, then I'll  
5 give a detailed model description and some assessment  
6 results, some cases that I have run to show that it  
7 was put into TRACE correctly. In the introduction,  
8 I'll go over the background and status, the modeling  
9 approach and then I'm going to show you the model  
10 accuracy. For the model description, it's actually a  
11 package of constitutive models that you need in order  
12 to do this right within the context of the two-fluid  
13 code.

14 So background and status. Well, pretty  
15 obviously we have the application or the pre-ap for  
16 the ESBWR design. One of the most important  
17 components is the Passive Containment Cooling System  
18 and that relies on condensation in the presence of  
19 non-condensable gases. So when this first came up as  
20 a priority for a TRACE application, the first thing I  
21 was tasked to do was look at the models that were  
22 extent in the code. Did they make any sense? Were  
23 they any good?

24 So I actually did a model review, if you  
25 will, a peer review being done by me and then some

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 model assessment. I ran a bunch of pure steam cases  
2 as well as steam-air cases just to see if the current  
3 model was good enough. If it was, nothing was needed.  
4 But that wasn't the case. There were significant  
5 deficiencies, both in the modeling approach. I mean,  
6 if you actually were to do a review of the models,  
7 which I did, and this I reported to you last time, and  
8 then also the predictive capability was pretty lousy.  
9 And I have a couple of those slides which you will  
10 see.

11 So that started in new model development.  
12 That development has been completed and it has been  
13 installed in the TRACE. I have compared the model to  
14 a very large condensation database, including pure  
15 steam, air-steam and helium-steam mixtures. As I  
16 said, it's in TRACE now. I have performed some  
17 preliminary assessment cases that I'm going to show  
18 you today. And then a more extensive assessment is  
19 underway right now at a contractor, also in-house. So  
20 we'll be looking at data from both tube tests,  
21 primarily those from University of California  
22 Berkeley, but also heat exchanger tests.

23 For example, the full scale PANTHERS  
24 facility that was done in Italy a number of years ago  
25 and also we have run some PCCS tests in the PUMA

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 facility. So we'll be looking at both of those.

2 VICE CHAIR WALLIS: Now, these are all  
3 vertical tubes?

4 MR. KELLY: Yes.

5 VICE CHAIR WALLIS: They are not  
6 horizontal tubes?

7 MR. KELLY: No, it's all vertical, because  
8 that's the design of the ESBWR. Now, a lot of the  
9 same models would be applicable, but they would have  
10 to be adjusted.

11 So we're talking about the model  
12 development effort. Well, the objective is pretty  
13 straightforward. We need a model in TRACE for in-tube  
14 condensation with non-condensable gases in order to  
15 handle both the Isolation Condenser and the Passive  
16 Containment Cooling Systems.

17 So what about the approach? Well, instead  
18 of saying should, this ought to say "The model must be  
19 compatible with the two-fluid framework." If you look  
20 at constitutive models and a lot of other codes and in  
21 TRACE, you will see a lot are the old HEM kind of  
22 models that were developed, you know, many years ago  
23 and they are kind of shoe-horned into a two-fluid  
24 code. And a lot of time it doesn't really make a lot  
25 of sense. So it must be compatible with the two-fluid

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 framework.

2 Also, it should take advantage of the  
3 quantities that TRACE already calculates through the  
4 solution of the conservation equations. Most  
5 analytical condensation models go to great lengths to  
6 try to get the axial distribution of the condensate  
7 flow rate. TRACE, through the solution of the mass  
8 and energy equations, already knows that.

9 So if you have it, you should use it and  
10 that's what we're going to do. We're going to take  
11 advantage of the axial distribution of the condensate  
12 flow rate and the film thickness just as a simple  
13 example.

14 VICE CHAIR WALLIS: This is just straight  
15 condensation through the film?

16 MR. KELLY: Right.

17 VICE CHAIR WALLIS: Because if it's  
18 turbulent film or has waves on it, it's presumably  
19 different.

20 MR. KELLY: Right, exactly. This is just  
21 a very simple little example. If you have a laminar-  
22 smooth film, the Nusselt no. is nothing more than the  
23 width of thermal connectivity divided by the film  
24 thickness. If it's a wavy laminar film, you're then  
25 going to multiply this by a function of the film

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Reynolds no., and then if it's a turbulent film, it's  
2 a function of Reynolds and Prandtl.

3 The other thing I did is I developed the  
4 model as a set of specialized constitutive package,  
5 which will be applied to pipes, but you have to label  
6 the pipes as "condenser tubes." There is a little  
7 flag that you can set.

8 And by doing that, I was able to put these  
9 models in the code without changing all of the answers  
10 of everything we do today, so that makes the  
11 migration, the path, a little bit more quickly, but  
12 also once the models have been tested and proved to be  
13 generally applicable, then they are going to be  
14 migrated over to the normal constitutive package and  
15 the special component will go away.

16 And in fact, some of these models like the  
17 improvements to the Wall Drag Model have already been  
18 put in the code, you know, as part of a normal  
19 constitutive. So I said I was going to show you  
20 something about --

21 VICE CHAIR WALLIS: The user then has a  
22 choice of these models in some way?

23 MR. KELLY: Yes. When you build an input  
24 deck, the condenser tubes are nothing more than pipes,  
25 and there is a little flag on the pipe where --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 because we use pipes for things like accumulators, as  
2 well, with their own special set of constitutive  
3 models. So it's like a 1 for an accumulator and it's  
4 a 5 for these things, so you change one number in the  
5 input deck to flag that tube as a condenser tube.

6 So I wanted to tell you something about  
7 the model accuracy, because I developed the model  
8 outside of TRACE, basically in a spreadsheet type  
9 format, and then eventually put it into TRACE, so I  
10 wanted to have a pretty large condensation database.  
11 And I divided that into three parts, pure steam  
12 condensation, air-steam tests and helium-steam tests.

13 Now, you will notice this UCB-Kuhn test  
14 appears in all three. That's also known as UCB-4 and  
15 it's probably, at least in my opinion, it's the best  
16 data we have for condensation with non-condensibles.  
17 It was the fourth graduate student, if you will, of  
18 Professor Schrock. They started with Karen Vierow who  
19 is now a professor at Purdue and moved all the way to  
20 the graduate student named Kuhn. So it's a series of  
21 four experiments and each time they took the lessons  
22 learned from the first experiment and applied it to  
23 the second.

24 Also, he did a better job than most  
25 students will do in, if you will, filtering his data

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 later, going back and looking at it, seeing what data  
2 made sense, what didn't and throwing away the bad  
3 points and only reporting the ones that make sense.  
4 So this is the best database we have.

5 The MIT test, Siddique was the first  
6 graduate student there and that was MIT's first  
7 attempt at these tests, and so it has a lot of the  
8 flaws of the first UCB test, but at least it was a  
9 test done somewhere else. And then the final one was  
10 Hasanein and that was a follow-on to Siddique, but he  
11 used the same facility, just changed the experimental  
12 procedure a little. So those tests I have less  
13 confidence in.

14 The NASA tests are pretty old. I think  
15 they are from the '60s if I remember right, but they  
16 are pretty much all we have. If you look in the tube  
17 diameter column, you will notice that all of the tests  
18 are, basically, at the diameter of the ESBWR condenser  
19 tubes with the exception of the NASA test, which is  
20 only 7 millimeters, so we're talking a pencil here.

21 Pressure range, pretty consistent, 1 to 5  
22 atmospheres all the way through with the exception of  
23 the NASA test, which actually goes subatmospheric,  
24 because they go to complete condensation.

25 If you look at the gas Reynolds no. and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you look at the Kuhn test, you will notice it's fairly  
2 modest. What that means is -- I mean, it's above the  
3 expected range for ESBWR, if you bracket it that way,  
4 but it's fairly modest, so these films are going to be  
5 more falling than they are sheared. There is  
6 interface for shear, but it's not much.

7 In contrast, and this is why I added the  
8 NASA test, now this Reynolds no. is pretty large, but  
9 if you think about the diameter it's being applied to,  
10 you come up with very high velocities here. We're  
11 talking almost 100 meters a second. And so these  
12 films are very highly sheared, very, very thin.

13 If you look at the Kuhn test and you look  
14 at the film Reynolds no., somewhere down near the  
15 bottom of the tube quite often these tubes are  
16 beginning to get near to turbulent transition. The  
17 NASA tests are the only ones I have that actually have  
18 any significant amount of the condenser surface in the  
19 turbulent regime, and that's the other reason they are  
20 here.

21 For the air-steam condensation test, it's  
22 pretty much the same thing, a fairly modest Reynolds  
23 no. for the Kuhn test, but you will notice it's much  
24 larger than the tests that were done at MIT. So those  
25 films will be more sheared than the ones at MIT. But

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 the bigger difference is in what the Reynolds no. goes  
2 down to. The tests at MIT go way sub-turbulent and  
3 that means they are going to be in a mixed convection  
4 type regime. This has probably got some mixed  
5 convection in it, too, but that's a big effect in  
6 these other tests.

7 VICE CHAIR WALLIS: Another effect, which  
8 may be present, I think in the NASA data, is the  
9 momentum transfer due to the condensation itself.

10 MR. KELLY: Yes.

11 VICE CHAIR WALLIS: Affecting the  
12 interfacial shear.

13 MR. KELLY: Yes, and that is modeled in  
14 TRACE.

15 VICE CHAIR WALLIS: Yes. And I think  
16 probably in the NASA experiments it shows up the most.  
17 Is it because the velocities are higher?

18 MR. KELLY: And the condensation rates are  
19 higher.

20 VICE CHAIR WALLIS: Are much higher, yes.

21 MR. KELLY: So this is the results of  
22 doing that assessment. What I'm comparing those tests  
23 to, the far column is a TRACE Model done in a  
24 spreadsheet format not inside of TRACE, and I'm  
25 comparing it to basically three other correlations.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 It's a little unfair to put Vierow-Schrock on here.  
2 This was the first model out of Berkeley.

3 VICE CHAIR WALLIS: So what are you  
4 comparing here, the pressure drop or the heat transfer  
5 coefficient?

6 MR. KELLY: The heat transfer coefficient.

7 VICE CHAIR WALLIS: Or the amount of  
8 condensation?

9 MR. KELLY: Yes, it's the heat transfer  
10 coefficient. Sorry. You run out of room on the  
11 slides.

12 VICE CHAIR WALLIS: Okay. These are  
13 percent changes or these are absolute?

14 MR. KELLY: I was going to get to that.  
15 Those are relative.

16 VICE CHAIR WALLIS: Relative.

17 MR. KELLY: So the way I --

18 VICE CHAIR WALLIS: The 2.9 meters off by  
19 a factor of 3?

20 MR. KELLY: Right.

21 VICE CHAIR WALLIS: Okay. So this is  
22 calculation minus data divided by data.

23 VICE CHAIR WALLIS: Okay.

24 MR. KELLY: That's the way I always do it.  
25 Okay? So this was the first correlation out of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Berkeley and it's totally empirical. It basically  
2 takes a falling film heat transfer coefficient and  
3 multiplies it by the so-called F1 factor for the  
4 effective interfacial drag and the F2 factor for the  
5 effective non-condensibles.

6 And you know, if I had the other slide up  
7 and could go back and show you the Reynolds no. for  
8 Kuhn versus the Reynolds no., which I don't have, that  
9 was done in Vierow's experiments, those Reynolds nos.  
10 are a good bit higher, so the F1 factor for  
11 interfacial shear is way outside of its data range.

12 So like I said, it's unfair to put this  
13 model here, but I wanted to do it to make the point  
14 that if you use an empirical model outside of its  
15 range of applicability, all bets are off.

16 And also, this model or derivatives of it  
17 are still being used by people today, so it better be  
18 used with caution. The reason for the large over-  
19 prediction here is that interfacial friction factor,  
20 the F1, which is a function --

21 VICE CHAIR WALLIS: Most errors are a  
22 factor of 3. There must be some points where the  
23 error is a factor of 10 or something large, really  
24 large.

25 MR. KELLY: There were some that were

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 pretty large, but they are all way off. I mean, if  
2 the average error is, you know, 260 percent too high,  
3 so you're off the charts and it's because the mixture  
4 Reynolds no. is too high. So like I said, it's a  
5 little unfair to use this correlation outside of its  
6 range, but people should be aware of that.

7 VICE CHAIR WALLIS: I think that these  
8 errors are positive. That means the correlation is  
9 predicting too much heat transfer. Is that what it  
10 is?

11 MR. KELLY: If the average one is, it  
12 means there is a bias towards too much. So what  
13 you're really looking at is a bias and an uncertainty,  
14 you know, within how well I do or don't do statistics.  
15 That's really all I wanted to say.

16 VICE CHAIR WALLIS: If you go back to the  
17 work done in Harwell in the '60s, I think, they did  
18 this sort of thing, too. You don't seem to have that  
19 in your database. I think they found that using this  
20 Nusselt idea as just  $h$  is  $k$  over  $\Delta$  didn't work out  
21 too well and there was a consistent error. I think it  
22 was a factor of about 2. I'm just trying to remember,  
23 but they did annular flow, condensation and --

24 MR. KELLY: Yes. I don't remember. Well,  
25 I wasn't able to find the data.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 VICE CHAIR WALLIS: Back in the '60s, yes.

2 MR. KELLY: But I found a reference to it  
3 where they said it was about 20 percent too high.

4 VICE CHAIR WALLIS: It was only 20  
5 percent?

6 MR. KELLY: If I remember right again.  
7 But Kuhn-Schrock-Peterson, I should call it a model  
8 and not a correlation, because the first thing you  
9 have to do is solve a cubic equation for the film  
10 thickness. So it does have some effect of both  
11 gravity and interfacial drag in it.

12 So you solve for the film thickness and  
13 then, again, there is an F1 factor, which in this case  
14 is a function of the film Reynolds no. to account for  
15 film waviness or turbulence effects. Well, actually  
16 not turbulence, because the database doesn't go that  
17 high. And then an F2 factor, which again is an  
18 empirical model for the effect of non-condensable  
19 gases.

20 VICE CHAIR WALLIS: And so the best  
21 correlation is, of course, on Kuhn data?

22 MR. KELLY: That is certainly what you  
23 would expect. I mean, I know for condensation data  
24 this is pretty remarkable.

25 VICE CHAIR WALLIS: But there's probably

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 some punch factors, which were adjusted and things  
2 like that.

3 MR. KELLY: Well, actually, you will see  
4 the model, part of the model, later. But, and this is  
5 the point I wanted to make, of course I have used one  
6 of the correlations from Kuhn, is this is almost as  
7 good against the Kuhn data and if you then go to the  
8 NASA data, which of course this is inapplicable to  
9 because it's just completely outside its range, and  
10 then you look at the Shah Model, which is an empirical  
11 correlation, which used the NASA data, you know, as  
12 part of development, and this again is pretty good  
13 especially if you look at how scattered the NASA data  
14 is. This isn't much worse.

15 So the conclusion here for the pure steam  
16 condensation is that the model that I have in TRACE is  
17 almost as good as empirical correlations on their own  
18 database.

19 MR. FORD: Let me just make sure I  
20 understand. None of them are very good.

21 MR. KELLY: Have you ever looked at  
22 condensation data?

23 MR. FORD: No. But you know, you  
24 mentioned that the Vierow-Schrock data is  
25 questionable, presumably in terms of quality control

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of the data itself, but the others you say are pretty  
2 good. But you're showing that the TRACE Model is  
3 under-predicting by a factor of 5. Am I reading those  
4 numbers correctly?

5 MR. KELLY: Which one?

6 MR. FORD: Well, the .018 you have there  
7 on the top line there.

8 MR. KELLY: Okay. That's --

9 MR. FORD: Is that not the same?

10 MR. KELLY: That's an average error of 1.8  
11 percent.

12 MR. FORD: Oh.

13 VICE CHAIR WALLIS: That's very good.

14 MR. FORD: That's right.

15 VICE CHAIR WALLIS: Have we done it with  
16 crack growth?

17 MR. KELLY: Okay.

18 MR. FORD: Okay.

19 MR. KELLY: So the point here was with  
20 pure steam, the model in TRACE is almost as accurate  
21 as empirical models against their own database and,  
22 obviously, it's better than those models when they go  
23 outside their database.

24 When you look at the air-steam  
25 condensation test, again Vierow-Schrock for this one

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is outside of its range of applicability, so you just  
2 have to be careful if it's an empirical model.

3 VICE CHAIR WALLIS: It would be good if  
4 this slide could stand on its own, so you have a  
5 title, which said error in heat transfer coefficient  
6 or fractional error or something like that.

7 MR. KELLY: That's true.

8 VICE CHAIR WALLIS: We knew what we're  
9 talking about. And this is the average heat transfer  
10 coefficient along the whole pipe?

11 MR. KELLY: No, these are LOCA values.

12 VICE CHAIR WALLIS: They are LOCA? Okay.

13 MR. KELLY: Now, it's LOCA not as in a  
14 point sense, because, obviously, with condensation you  
15 don't --

16 VICE CHAIR WALLIS: Did you also measure  
17 the LOCA values?

18 MR. KELLY: Yes. What you do, you do a  
19 heat balance on the secondary side where you're  
20 measuring the liquid temperature over increments so  
21 it's LOCA, but in a sense of, you know, 10 centimeters  
22 kind of thing, not a point.

23 MR. CARUSO: You keep saying that you have  
24 to be careful about applying it outside its range of  
25 applicability. Well, what if the user becomes

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 creative? Does the code say ah, I'm outside my range  
2 of applicability and turn on a big, red light?

3 MR. KELLY: Well, no.

4 MR. CARUSO: Or a yellow light warning?

5 MR. KELLY: No. But when I'm saying that,  
6 I'm not saying that about this. I'm saying that about  
7 empirical models that are used in other codes. Okay?  
8 Now, that's not to say you can't get this one out of  
9 its range either, but part of my philosophy in  
10 developing it is not to do that.

11 But you're right and, at some point,  
12 probably in a post-processor mode, because you don't  
13 want to have 100 if tests, you know, checking every  
14 correlation in the code, but that would be a good  
15 post-processing tool to check and flag places where  
16 the code was outside its range of applicability, but  
17 we're not there yet. We have got to get good answers  
18 first.

19 CHAIRMAN RANSOM: Where are these  
20 comparisons? Are they at the entrance of the tube or  
21 at the exit of the tube or somewhere in between?

22 MR. KELLY: They are pretty much  
23 everywhere, except for where either the experiment or  
24 I threw the data point out. For example --

25 CHAIRMAN RANSOM: So this is a combination

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of different points within the tube?

2 MR. KELLY: Yes, yes, every point where  
3 there was a measurement unless that measurement just  
4 was thrown out by the experimenter or I looked at it  
5 and said this doesn't make any sense at all and threw  
6 it out. And you'll notice there is a fairly large  
7 number of data points. Okay.

8 For the air-steam test, for example,  
9 there's 571 data points from the UCB-Kuhn test that I  
10 am comparing to, and the model that they developed and  
11 fit to that data has an RMS of about 25 percent,  
12 whereas the model I'm going to show you today is only  
13 16 percent. So we're actually better against the Kuhn  
14 data than the Kuhn empirical model and that's not bad.

15 The same thing happens, we're as good for  
16 the helium-steam. When you look at the MIT test,  
17 first off you notice the uncertainty band has grown.  
18 I think that's partially the data quality of the test.  
19 But you will notice the TRACE Model also has a bias.  
20 It's about 40 percent too low and if I went back to  
21 the previous slide, that's because a lot of those  
22 tests are below the turbulent transition, and I'm  
23 talking about the transition for the gas vapor core.  
24 So when you do the mass transfer solution, you're now  
25 off in a place where mixed convection would be very

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 important and we don't model that here.

2 VICE CHAIR WALLIS: How accurate do you  
3 need to be for ESBWR assessment?

4 MR. KELLY: Preparing to hibernate.  
5 That's somewhat ominous.

6 VICE CHAIR WALLIS: Oh, it's hibernating.  
7 It did that the other day and it never came back.

8 MR. KELLY: Okay.

9 MR. SIEBER: Well, I think you're done.

10 MR. KELLY: Yes. Sleep is one thing.  
11 Hibernating doesn't sound good at all.

12 MR. SIEBER: Ralph didn't fix it before  
13 either.

14 VICE CHAIR WALLIS: Yes, it sleeps for a  
15 whole month now. A question. How accurate do you  
16 think you need to be for something like ESBWR  
17 assessment?

18 MR. KELLY: Well, I don't honestly know.  
19 When we start doing more of the ESBWR calculations,  
20 we'll have a better idea. Now, you know, if the code  
21 model that was there before had been pretty good, then  
22 we could do those calculations, range the model and  
23 get some idea, but they were so bad that that would  
24 have been a fruitless exercise.

25 But that's part of the reason I'm not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 carrying development of this model much further. I  
2 mean, like I said, the reason that we under-predict  
3 the MIT data is primarily because we ignore mixed  
4 convection effects.

5 VICE CHAIR WALLIS: But you probably can't  
6 do any better.

7 MR. KELLY: I could, but it would be a  
8 research program.

9 VICE CHAIR WALLIS: Well, it may be that  
10 for ESBWR assessment you can be off by a factor of 2  
11 and it doesn't matter. I just don't know.

12 UNIDENTIFIED SPEAKER: It's not plugged  
13 in.

14 MR. KELLY: You know, I'm not sure about  
15 the factor of 2, but 50 percent, because there is to  
16 some extent a self-correcting thing about that with  
17 condensation heat transfer and that's why you don't  
18 have to get it to the last data point, and so I think  
19 this is plenty accurate enough.

20 VICE CHAIR WALLIS: Now, can we get rid of  
21 this hibernating function somehow?

22 MR. KELLY: Well, we could switch to a  
23 Mac.

24 VICE CHAIR WALLIS: Maybe in the break we  
25 can figure it out.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. SIEBER: We can plug it into here.

2 VICE CHAIR WALLIS: It's one of those  
3 Microsoft conspiracies.

4 MR. CARUSO: It's plugged in, but it's not  
5 --

6 VICE CHAIR WALLIS: If you don't do  
7 anything for awhile, does it hibernate or is that what  
8 it's --

9 MR. CARUSO: Well, it has to be the  
10 battery.

11 UNIDENTIFIED SPEAKER: It's only  
12 hibernating, because it's not plugged in.

13 MR. KELLY: It's low battery.

14 VICE CHAIR WALLIS: Well, if it's plugged  
15 in it shouldn't have a problem, should it?

16 MR. CARUSO: It is plugged in, but it  
17 appears like it's not charging.

18 MR. FORD: Do you want to borrow mine, my  
19 computer? Bad transformers.

20 UNIDENTIFIED SPEAKER: It could be,  
21 because it's definitely --

22 MR. SIEBER: Why don't you plug it in  
23 here, this outlet over here.

24 MR. FORD: So you can see what's going on.

25 MR. CARUSO: I think I got it now.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. FORD: Don't you need to plug in the  
2 other end?

3 MR. CARUSO: No, no, it's still showing  
4 the battery is low.

5 MR. FORD: What about the other end there?

6 MR. KELLY: Do you have power there?

7 MR. SIEBER: Yes.

8 MR. KELLY: Okay.

9 VICE CHAIR WALLIS: Keep from losing your  
10 work. I mean, it's really threatening.

11 MR. KELLY: No, you know what is  
12 happening?

13 UNIDENTIFIED SPEAKER: The power supply.

14 UNIDENTIFIED SPEAKER: We have a problem  
15 with this plug.

16 UNIDENTIFIED SPEAKER: Keep going, Joe.

17 CHAIRMAN RANSOM: Joe, if you were to  
18 incorporate an uncertainty function, you know, into a  
19 model like this and a code, what would you place the  
20 uncertainty on?

21 MR. KELLY: It's a good question, because  
22 it's built really of five different constitutive  
23 models. There's, you know, wall drag, interfacial  
24 shear, those two affect the film thickness, which is  
25 part of this model. There is a heat transfer

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 coefficient between the wall and the liquid. There is  
2 an interfacial heat transfer coefficient and then  
3 there's the mass transfer effect, which brings in the  
4 effective non-condensibles.

5           Where would you put it? I would probably  
6 put it on the mass transfer, because that would  
7 directly affect the condensation rate and then that  
8 would perpetuate through all the others. If you try  
9 ranging all of the others individually, you can do  
10 that, but it gets difficult and that's always one of  
11 the questions about any of these codes when you do an  
12 uncertainty analysis.

13           MR. FORD: It is charging.

14           UNIDENTIFIED SPEAKER: It's charging now.  
15 I think it's charging.

16           MR. KELLY: Now, if for example you're  
17 doing dispersed flow film boiling, is it wall heat  
18 transfer to the vapor? Is it drop diameter? Is it  
19 interfacial drag? Is it interfacial heat transfer of  
20 the drops? You know, that's a very hard question.

21           VICE CHAIR WALLIS: Really, I would like  
22 to measure all those things. Excuse me.

23           CHAIRMAN RANSOM: Right. As you  
24 incorporate this model into the mainstream of the  
25 code, is there just going to be like a flow regime

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 parameter or something like that that turns it on,  
2 basically, to differentiate from the normal interface  
3 drag or the normal wall friction?

4 MR. KELLY: Well, for the wall drag, we  
5 actually went ahead and migrated that over and that is  
6 something that I can talk about next time, because I  
7 changed the way the two phase wall drag is done in the  
8 code.

9 VICE CHAIR WALLIS: So that's global more  
10 or less?

11 MR. KELLY: So that's global now.

12 VICE CHAIR WALLIS: Okay.

13 MR. KELLY: For the interfacial drag, I  
14 made that global, but in the sense for co-current  
15 downflow, co-current downflow in the annular regime.  
16 Okay? I have spent enough on this. And now just to  
17 show you what it looks like.

18 VICE CHAIR WALLIS: What does total mean?

19 MR. KELLY: I should have just said wall  
20 heat transfer, but that's what I mean here.

21 VICE CHAIR WALLIS: That's LOCA wall heat  
22 transfer?

23 MR. KELLY: Yes. When I saw that slide  
24 last night, I went ah, I wish I had time to change it.  
25 So it's calculated versus measured. This is for the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 Kuhn pure steam test and I have got plus or minus 25  
2 percent bands on here, and you will notice almost all  
3 the points are within that, except for a few. And  
4 when you look at those few, those are the ones that  
5 are at a higher liquid film Reynolds no. where it's  
6 starting to get into the turbulent transition region,  
7 and the model I have in over-predicts this data for  
8 those Reynolds nos.

9 Now, I'm just overlaying on it the air-  
10 steam data and, again, it's very good for almost all  
11 the points, but you will notice there are some that  
12 are under-predicted. And when you go back and see  
13 which ones are under-predicted, it's the ones where  
14 the gas core Reynolds no. has gotten low, down into  
15 below 10,000 and they are starting to go towards a  
16 laminar transition.

17 So these are ones where a mixed convection  
18 effect in the mass transfer is important. And you can  
19 put a mixed convection type model in and bring these  
20 points up, but when I did that, I made some of the  
21 other ones worse, and that's where your comment about  
22 how accurate does the model have to be comes in. So  
23 I figured it was not worth the extra development  
24 effort to go after the mixed convection effect.

25 MR. KRESS: What strikes me about that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 thought, Joe, is I was under the impression that non-  
2 condensibles would have a big effect, but it doesn't  
3 seem to make much difference.

4 VICE CHAIR WALLIS: They are in the  
5 theory, aren't they?

6 MR. KELLY: It does have a huge effect,  
7 but what you don't necessarily know is how much the  
8 LOCA conditions have changed. This is a log scale.

9 VICE CHAIR WALLIS: Your air-steam theory  
10 has the non-condensible effect in it.

11 MR. KELLY: Right. What he means is --

12 VICE CHAIR WALLIS: Otherwise, you would  
13 never get those points which are measured to be four  
14 times what you are predicting.

15 MR. KELLY: Right. What he is asking is  
16 why are the yellow triangles overlaid by some of the  
17 orange ones.

18 VICE CHAIR WALLIS: I thought he was  
19 saying the non-condensibles have a big effect on heat  
20 transfer.

21 MR. KELLY: Yes.

22 VICE CHAIR WALLIS: And you weren't  
23 showing it. But I think you are, because it's in your  
24 theory.

25 MR. KELLY: Right. He just was -- I think

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you were surprised that there wasn't a larger non-  
2 condensible effect. But part of that is that this is  
3 a log scale.

4 VICE CHAIR WALLIS: This doesn't show the  
5 non-condensible effect. It just shows that your  
6 theory compares with the data.

7 MR. KELLY: Well, what he means is that  
8 the absolute values of the measured ones are not --

9 MR. KRESS: Are not that much different.

10 MR. KELLY: -- that different.

11 VICE CHAIR WALLIS: Well, they're much  
12 lower at the lower end.

13 MR. KELLY: Right.

14 MR. KRESS: Well, yes.

15 MR. KELLY: And that's the key. But there  
16 are some that overlap and I just --

17 MR. KRESS: Yes, that was my point was  
18 that there.

19 MR. KELLY: The ones that overlap are  
20 probably the lower gas concentrations and the higher  
21 gas core mixture Reynolds numbers.

22 MR. KRESS: So it wouldn't make much  
23 difference.

24 MR. KELLY: So that they are not  
25 necessarily mass transfer limited. Some of those

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 tests can actually still be filmed, you know, liquid  
2 film limited.

3 VICE CHAIR WALLIS: Presumably, this is  
4 all the data, but this is obviously a group that seems  
5 to lie right along the line.

6 MR. KELLY: Yes.

7 VICE CHAIR WALLIS: And then there are  
8 some other ones.

9 MR. KELLY: Well, and the other ones, this  
10 is adding the helium-steam.

11 VICE CHAIR WALLIS: Yes.

12 MR. KELLY: That's where the gas core  
13 mixture Reynolds numbers got low. And so I'm under-  
14 predicting them because I don't consider mixed  
15 convection effects. And that's one of the nice things  
16 about having a more mechanistic kind of model as  
17 opposed to empirical correlation is I can TRACE this,  
18 if you will, to a physical phenomenon that I'm not  
19 modeling.

20 VICE CHAIR WALLIS: It may well be for  
21 regulatory purposes you want to under-predict the heat  
22 transfer coefficient to be conservative, in which case  
23 you're doing fine.

24 MR. KELLY: Well, if I were to make an  
25 error, that's where my event would lead me to be, but

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I also didn't figure that it made much -- typically  
2 when you go to the lower Reynolds numbers, you're down  
3 near the end of the condenser. And most of the steam  
4 is gone anyway and that's where, you know, you come,  
5 you know, well, how accurate does it have to be? To  
6 some extent, this is a self-correcting process anyway,  
7 as long as you're not, you know, very far off.

8 VICE CHAIR WALLIS: You may or may not  
9 care, I mean, in something like suppression pool, my  
10 G likes to assume that all the steam is condensed.  
11 They say essentially 100 percent is direct, but they  
12 don't want it to pressurize the space. So getting  
13 that last little bit of steam right is very important  
14 in that scheme. The ESBWR, I forget how important it  
15 is to get the last little bit of steam condensed, but  
16 if it goes through the condenser, then it goes into  
17 another space and can pressurize it.

18 MR. KELLY: Yes.

19 VICE CHAIR WALLIS: So the system  
20 interaction gets informed.

21 MR. KELLY: Right. And again, if you  
22 pressurize a little, then the pressure difference  
23 between the dry well and the wet well goes up. You  
24 drive more flow through and you get back to higher  
25 Reynolds numbers, etcetera.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 VICE CHAIR WALLIS: Right.

2 MR. KRESS: You've got to apply this to  
3 the Passive Containment Cooling System.

4 MR. KELLY: And also the isolation.

5 MR. KRESS: You've got one over -- you  
6 don't want to over-predict.

7 MR. KELLY: Right. So the summary to the  
8 introduction is a model has been developed. It has  
9 been put into TRACE. I took advantage of the things  
10 that TRACE actually calculates like the film  
11 thickness. I showed you the accuracy.

12 VICE CHAIR WALLIS: When you say that is  
13 applicable, do you mean it could be applied?

14 MR. KELLY: Right.

15 VICE CHAIR WALLIS: So you haven't yet  
16 compared?

17 MR. KELLY: I haven't demonstrated it.

18 VICE CHAIR WALLIS: Other animals that  
19 were tested.

20 MR. KELLY: That's true, but we're going  
21 to be doing that and we'll be using it in the PANTHER  
22 data which is for --

23 VICE CHAIR WALLIS: Was the PANDA tested  
24 too or not?

25 MR. KELLY: There are PANDA tests as well

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and I believe -- see, we now have two branches. There  
2 is an Advanced Reactor Branch and they will be  
3 assessing the code for the ESBWR applications. And  
4 it's my job to provide them a tool. And when they  
5 report back deficiencies in that tool, then it is my  
6 job to fix them.

7 VICE CHAIR WALLIS: Now, PANTHERS tests  
8 were done for GE presumably.

9 MR. KELLY: That's correct.

10 VICE CHAIR WALLIS: And GE has their own  
11 model?

12 MR. KELLY: Yes.

13 VICE CHAIR WALLIS: Did you do better or  
14 worse than their model?

15 MR. KELLY: I am not sure what the GE  
16 Model is now. At any rate, it would be proprietary.  
17 Back at the time of the --

18 VICE CHAIR WALLIS: But you could get  
19 access to it, couldn't you?

20 MR. KELLY: Yes. Back at the time of the  
21 ESBWR submittal, they used the Vierow-Schrock  
22 correlation with modification in its implementation to  
23 limit some of its over-prediction.

24 VICE CHAIR WALLIS: Yes.

25 MR. KELLY: I don't know what is in tri-GE

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 now. But, you know, we looked at the accuracy and the  
2 accuracy is quite good. When it is not good, it's  
3 because of a phenomena that we're not modeling, like  
4 mixed convection. Back to my contents. We finished  
5 the introduction and, at this point, I will give you  
6 a couple of choices. You can accept the model is good  
7 enough and I can stop and we can be an hour and a half  
8 ahead of schedule, which would be a first or we can  
9 jump ahead. I can show you how it works in TRACE and,  
10 at that point, stop if you will or I can go ahead and  
11 give the entire presentation. I think I know the  
12 answer.

13 I showed some of this the last time, about  
14 a year ago, and the parts that I showed before, I'm  
15 going to go through very quickly. When you talk about  
16 film condensation, the traditional representation, you  
17 know, when you are doing your heat transfer  
18 coefficients on a piece of paper, it's a heat transfer  
19 coefficient times  $T_{\text{wall}}$  minus  $T_{\text{sat}}$ , and that's what  
20 we're all used to. Now, you go and you calculate  
21 using whatever the appropriate model is. But when you  
22 stick it into a two-fluid code and you want to make it  
23 work as part of the numerical framework, the wall heat  
24 flux is really a heat transfer coefficient between the  
25 wall and the liquid.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           And in the same temperature here is the  
2 liquid film temperature, not  $T_{\text{sat}}$ . So what we're  
3 talking about is this heat transfer path between the  
4 wall and the liquid. The condensation rate --

5           VICE CHAIR WALLIS: This say  $T_1$  or  $T_i$   
6 there?

7           MR. KELLY: That should be  $T_1$ .

8           VICE CHAIR WALLIS: What is it actually  
9 there?

10          MR. KELLY: It is  $T_1$  there. It's just  
11 hard to read.

12          VICE CHAIR WALLIS: It just looked like an  
13 i in a way. Okay.

14          MR. KELLY: Right.

15          CHAIRMAN RANSOM: That's the average  
16 liquid temperature in that cell?

17          MR. KELLY: That's correct. It should be  
18 somewhere between  $T_{\text{sat}}$  and  $T_{\text{wall}}$ , and that's about all  
19 you know. The condensation rate use some, the two  
20 interfacial heat transfer rates, vapor-interface,  
21 which is heat to the interface and liquid-interface,  
22 which is actually removing heat from the interface and  
23 divided by the weight and heat. And those are shown  
24 here.

25          CHAIRMAN RANSOM: The question there would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 be what if the vapor is super heated somewhat and how  
2 is that super heat then taken into account in the mass  
3 transfer model?

4 VICE CHAIR WALLIS: Yes.

5 MR. KELLY: Well, with the mass transfer  
6 model, we'll get to that later. But let's say this is  
7 pure steam at the moment. If the steam is super  
8 heated, there is an interfacial heat transfer  
9 relation. It's basically Dittus-Boelter kind of thing  
10 for hot steam to this film. And so in that case,  $Q_{vi}$   
11 would be positive,  $Q_{li}$  is negative, and it's the sum  
12 of those two that becomes the condensation rate.

13 So it's kind of like you have evaporation  
14 and condensation and you sum them and whichever one is  
15 the largest wins.

16 VICE CHAIR WALLIS: Yes.

17 MR. KELLY: In normal cases and especially  
18 for the mass transfer case, the sensible heat transfer  
19 from the vapor gas mixture is basically negligible.  
20 We're down in a couple percent. And so it's much,  
21 much smaller than the uncertainty in the data. And  
22 one thing I wanted to make a point of on the slide is  
23 the interface temperature here, this  $T_i$ , that is, and  
24 any two-fluid code I know of, it's assumed to be at  
25 the  $T_{sat}$  at the bulk vapor partial pressure.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   VICE CHAIR WALLIS:  Afraid it isn't,  
2  because of --

3                   MR. KELLY:  That's true.

4                   VICE CHAIR WALLIS:  -- mass transfer  
5  boundary.

6                   MR. KELLY:  Exactly.  And so you have to  
7  make an adjustment for that in your mass transfer  
8  model.  In effect, you have to put an additional  
9  resistance in this path.  So I have this long laundry  
10 list of models and we're going to start with wall  
11 friction.  And the wall friction -- now, I have to be  
12 able to do condensation of both pure steam and non-  
13 condensible gas mixtures.  And it has to work for both  
14 falling films and sheared films.

15                   Now, this is why we're talking about wall  
16 friction.  This is a result of a calculation with the  
17 existing TRACE Model, and if you read through the  
18 manual, what you will see they won't use the word  
19 partitions, but, in effect, that's what it does.

20                   VICE CHAIR WALLIS:  It says this drag on  
21 the vapor even though it doesn't touch the wall?

22                   MR. KELLY:  That's correct.

23                   VICE CHAIR WALLIS:  Very strange.

24                   MR. KELLY:  Well, that's incorrect.  Okay.

25                   VICE CHAIR WALLIS:  That's what it does?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. KELLY: That's what it does.

2 VICE CHAIR WALLIS: Why on earth does it  
3 do that?

4 MR. KELLY: Because when the developers  
5 were doing that, they were worried about large break  
6 LOCA. They were not at all thinking about annular  
7 flow or condensation. And so the model they put in  
8 was suitable for their application, but that's why you  
9 need to review those models when you bring it forward  
10 to a new application. You know, there was a no, never  
11 mind for large break LOCA. It's important here if you  
12 use a model that's based upon the film thickness.

13 So the first effect of this, and this is  
14 the phase velocity versus axial position, this is for  
15 a pure steam condensation case at 3 bar. The blue  
16 line here is the TRACE calculated vapor velocity.

17 VICE CHAIR WALLIS: You mean it's going  
18 faster than the vapor?

19 MR. KELLY: Exactly. And that's exactly  
20 what -- this is the behavior expected. As the vapor  
21 condenses, slows down, the liquid hangs up around 5  
22 meters a second. Now, I don't know about you, but I  
23 can be driving at, let's say, in excess of the speed  
24 limit in a rain storm and I don't see any liquid films  
25 on my windshield moving at 5 meters a second. Maybe

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 when the windshield wipers go over, but that's about  
2 the only time.

3 VICE CHAIR WALLIS: Right.

4 MR. KELLY: So this is just plain wrong.  
5 Okay. The result of this, if the liquid film is  
6 moving that fast, it's basically in free-fall. The  
7 film thickness that you get is minuscule.

8 VICE CHAIR WALLIS: Then you get a huge  
9 heat transfer coefficients?

10 MR. KELLY: If that's how you use it. If  
11 you use the film thickness in the heat transfer  
12 coefficients, that's right.

13 VICE CHAIR WALLIS: That's a previous  
14 TRACE Model or what exists now?

15 MR. KELLY: Previous.

16 VICE CHAIR WALLIS: Okay.

17 MR. KELLY: I don't have a film thickness,  
18 you know, a measurement.

19 VICE CHAIR WALLIS: TRACE came from TRAC  
20 and RELAP. Was this wrong because RELAP was wrong or  
21 because TRAC was wrong?

22 MR. KELLY: Both.

23 VICE CHAIR WALLIS: Both?

24 MR. KELLY: It's wrong because TRAC is  
25 wrong. But when I looked at model on condensation on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 non-condensibles in RELAP years ago, it was wrong in  
2 RELAP as well. We had exactly the same kind of  
3 partitioning and with exactly the same kind of  
4 miserable result. And it was fixed at one time in  
5 RELAP and I think that got into the official code  
6 version. Wei Dong and I fixed that.

7 VICE CHAIR WALLIS: If you look at your  
8 right hand figure there, that means that your heat  
9 transfer coefficient would be off by an order of  
10 magnitude.

11 MR. KELLY: If you are using the liquid  
12 film thickness in the heat transfer coefficient,  
13 that's correct. But what TRACE, the old TRACE, did  
14 was it used a Nusselt, the laminar analysis thing,  
15 where, in effect, it was treating each node as a heat  
16 transfer surface, so it didn't use this at all. Now,  
17 this was a void fraction, but it paid no attention to  
18 it.

19 MR. FORD: Could I ask a materials  
20 question?

21 MR. KELLY: Certainly.

22 MR. FORD: Presuming all this wall  
23 friction stuff depends on the state of the physical  
24 properties of the surface, so if you are highly  
25 oxidized, for instance, you're going to have different

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 results. Is that true or is this just a no, never  
2 mind?

3 MR. KELLY: Well, okay. For single phase  
4 flow, you're absolutely correct.

5 MR. FORD: Yes.

6 MR. KELLY: That you can increase the wall  
7 drag on maybe as much as order of magnitude by going  
8 from a polished, you know, a drawn tubing, something  
9 that looks more like a concrete duct.

10 MR. FORD: Yes.

11 MR. KELLY: For annular flow, and these  
12 are fairly thin films, the effect of tube roughness  
13 has never really been established. At least that's a  
14 quote out of, I think, one of Professor Hewitt's  
15 papers, was that they had never -- you know, it has  
16 never been systematically investigated.

17 MR. FORD: Experimental wasting of --

18 MR. KELLY: They had never seen it.

19 MR. FORD: -- smooth plastic tubing. This  
20 is what I was wondering. Are you introducing a  
21 constant error in the data, since the model is trying  
22 to catch up or what?

23 MR. KELLY: Well, I think, compared to  
24 everything else that is fairly minor.

25 MR. FORD: Okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. KELLY: In that the biggest problem  
2 with condensation experiments is knowing what the heat  
3 transfer rate is.

4 MR. FORD: Yes.

5 MR. KELLY: Now, if you're doing a heating  
6 experiment, you just turn your Rheostat and you know  
7 how much power you're putting into it and you divide  
8 it by the length and you've got the heat flux.

9 MR. FORD: Yes.

10 MR. KELLY: Then you use your  
11 thermocouples to give you the wall temperature and you  
12 can get a heat transfer coefficient. That's not the  
13 case here.

14 MR. FORD: Okay.

15 MR. KELLY: You have to do mass balances.  
16 And typically there is like a secondary side which  
17 will be single phase liquid and you have to measure  
18 the axial change in the liquid temperature and assume  
19 that represents, you know, some bulk temperature and  
20 use an energy balance and get a heat flux over a  
21 region. And so that becomes highly uncertain. And  
22 that was one of the big things they kept trying to  
23 improve in the Berkeley experiments.

24 MR. FORD: The reason I'm asking the  
25 question is you're applying this to the ESBWR and the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 ACR-700 and maybe others in the future, in which we  
2 are changing materials for construction.

3 MR. KELLY: Yes.

4 MR. FORD: Are you therefore introducing  
5 an unknown quantity? What I'm hearing you say is it's  
6 a no, never mind.

7 MR. KELLY: I think it's a no, never mind.  
8 And in the turbulent part of the correlation that I  
9 use, there is a roughness effect, you know, that was  
10 established for single phase flow, whether that is  
11 applicable to annular flow or not is unknown.

12 MR. FORD: Thank you.

13 MR. KELLY: So the model that I'm putting  
14 in is very simple. You know, parallel plate for the  
15 laminar, turbulent and then a power-law waiting and  
16 you want to know does that make any sense. So the  
17 first thing I did was put together a database of  
18 basically all the film thickness, falling film  
19 thickness data, I can find. You notice it covers  
20 almost 4 orders in magnitude and film Reynolds no.  
21 going from very laminar, almost smooth films, to  
22 highly turbulent films.

23 And when you take the model that I just  
24 showed you and you put it into TRACE, turn off  
25 interfacial shear to make it look like a falling film,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the borderline is the code calculation. Where did  
2 these calculations form?

3 VICE CHAIR WALLIS: When you get Haaland  
4 expression.

5 MR. KELLY: Yes.

6 VICE CHAIR WALLIS: If a big Reynolds no.,  
7 am I being stupid, a big Reynolds no. then that thing  
8 in the internal bracket is less than 1, a big Reynolds  
9 no.

10 MR. KELLY: Yes.

11 VICE CHAIR WALLIS: An absolute zero. The  
12 log of a number less than 1 is negative.

13 MR. KELLY: Yes, and there's a square.

14 VICE CHAIR WALLIS: So you square it to  
15 make it positive?

16 MR. KELLY: Yes.

17 VICE CHAIR WALLIS: Gee whiz.

18 MR. KELLY: Yes, I don't do that. That's  
19 the explicit approximation.

20 VICE CHAIR WALLIS: Okay.

21 MR. KELLY: And that's one of the more  
22 accurate ones for, you know, trying to emulate  
23 Colebrook-White without it being an implicit  
24 relationship. It's accurate and fairly simple. But  
25 you're right. So you have to make sure it's to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 power of 2 as an integer and not 2.0 as a real. So to  
2 finish with wall drag, that works pretty well for  
3 falling films.

4 And now we're going to talk about  
5 interfacial friction and this is something I showed  
6 last time, so I'm going to really breeze through this.  
7 What I did is I found a database for co-current  
8 downflow, the test that Andreussi-Zanelli the  
9 air/water co-current downflow. What is great about  
10 these tests and the reason I picked them, not only do  
11 they measure the film thickness, but they measure the  
12 pressure gradient and the fraction of the liquid  
13 entrained.

14 From that, they actually calculate values  
15 of the interfacial friction coefficient. So I can do  
16 a comparison interfacial friction coefficient instead  
17 of just, you know, predicted film thickness. I looked  
18 at all of these various models and here are the  
19 results. There's one model, in particular, it was by  
20 Professor Hanratty at University of Illinois, the one  
21 that was with the entrainment was vastly superior to  
22 the others. This is what it looks like.

23 VICE CHAIR WALLIS: How do you know the  
24 entrainment?

25 MR. KELLY: Well, I don't remember how

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 they measured it.

2 VICE CHAIR WALLIS: How do you in your  
3 TRACE?

4 MR. KELLY: Oh, that's one of the reasons  
5 you're not going to see it in the calculations. It's  
6 a correlation by Ishi and I don't know how good it is.

7 VICE CHAIR WALLIS: Ah, hah.

8 MR. KELLY: So this is how good the Asali-  
9 Hanratty Model is predicted versus calculated for  
10 interfacial shear. When I put the model into TRACE  
11 and do a simulation, that's slide 21, this is the  
12 calculated film thickness with TRACE versus the  
13 measured film thickness and I'm using all of the data  
14 for which the entrainment was basically zero. And I  
15 did that because I wanted an estimate of how good the  
16 interfacial drag model was without cluttering it up  
17 with the entrainment.

18 The blue points are with the default TRACE  
19 Model and this is the code version and the orange/red  
20 points are with the PCCS updates, which is the model  
21 I just showed you for wall drag and interfacial  
22 friction.

23 VICE CHAIR WALLIS: It looks like a huge  
24 improvement.

25 MR. KELLY: Yes. And I feel pretty

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 confident about that. So the next model to talk about  
2 is wall-liquid heat transfer. And as uncertain as  
3 interfacial friction can be, wall heat transfer can be  
4 more uncertain and when we get to interfacial heat  
5 transfer even more uncertain. So what do we need? We  
6 need a wall heat transfer coefficient. Again, this is  
7 wall to liquid that works for laminar films, both  
8 smooth and wavy, and it also needs to work for  
9 turbulent films.

10 VICE CHAIR WALLIS: What do you do about  
11 entrainment though? If you have any condensation, you  
12 start off with no entrainment. Pure steam comes in.  
13 It takes a while to develop entrainment, so your  
14 entrainment equilibrium correlation shouldn't work  
15 very well. You're always going to be less than  
16 predicted, it would seem to me.

17 MR. KELLY: And you would get all of your  
18 entrainment at the inlet. And then as you go through  
19 it --

20 VICE CHAIR WALLIS: It doesn't happen  
21 instantaneously, because there's no liquid films,  
22 there's nothing to entrain.

23 MR. KELLY: Right. And then you also have  
24 to say how is entrainment treated in a two-fluid  
25 model. At the moment, we do not have the droplet

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 field.

2 VICE CHAIR WALLIS: All the experiments on  
3 entrainment it takes a lot of 1 over ds to get to  
4 equilibrium entrainment.

5 MR. KELLY: Right. So I don't think it's  
6 terribly important. Even I have simulated some of the  
7 NASA tests and, you know, I don't think the  
8 entrainment -- it does calculate some.

9 VICE CHAIR WALLIS: With respect to the  
10 entry there's very little entrainment, velocities are  
11 so low.

12 MR. KELLY: Yes, the films are --

13 VICE CHAIR WALLIS: That's why it works.

14 MR. KELLY: Yes, the films are modestly  
15 sheared. Okay. So how are we going to determine what  
16 the appropriate wall heat transfer coefficient is?  
17 Well, for laminar films, what I'm going to do is look  
18 at falling film condensation data and use that to help  
19 me select a correlation. But after I did that, I  
20 thought well, maybe I should go back and look at the  
21 pure steam condensation data of Kuhn.

22 Now, I don't have any interfacial heat  
23 transfer data in that regime. So what I'm going to do  
24 is take the, what I'll call, total heat transfer  
25 coefficient which includes both resistances, you know,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 wall to liquid, liquid to interface, and just split it  
2 between the two, because I don't know anything better  
3 than that. That's what I'm going to do for laminar.  
4 I'll walk you through that.

5 For turbulent films, I'm going to look at  
6 falling film heating data, for just that reason that  
7 we have less uncertainty.

8 VICE CHAIR WALLIS: Are you talking about  
9 the NASA transfer causing momentum transfer?

10 MR. KELLY: Yes, I --

11 VICE CHAIR WALLIS: That's in this  
12 somewhere is it?

13 MR. KELLY: That's built into the TRACE.

14 VICE CHAIR WALLIS: Simply added on?

15 MR. KELLY: There is a gamma v rel in the  
16 TRACE equations. Right. So if you look at the field  
17 equations, you'll see that there. And what I was  
18 showing was the adiabatic interfacial drag. For  
19 turbulent films, I'm going to look at falling film  
20 heating data and then I'll be considering the  
21 interfacial heat transfer separately.

22 Well, this is an example of falling film  
23 condensation from the database I put together. The  
24 first thing you will notice is the heat transfer  
25 coefficients are averaged over the entire surface.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 There are no local values. And so what you are seeing  
2 here is a Nusselt no. and what the asterisk means is  
3 it's a characteristic link in it, rather than being  
4 the film thickness.

5 It's what I call the Nusselt film  
6 thickness. So it's the liquid velocity squared over  
7 liquid density times G point to Rho to the 1/3 power.  
8 So that's the characteristic link here. The brackets  
9 means that it is averaged over the entire heat  
10 transfer surface, applied against the film Reynolds  
11 no. The solid black line is the Nusselt correlation,  
12 so that's the other thing that you're supposed to see,  
13 is that due to the presence of waves on these laminar  
14 films, there's typically a 15 or 25 percent  
15 enhancement. And, of course, in this free-on data out  
16 here, when this starts bending back upward, that's  
17 because the film is going turbulent.

18 VICE CHAIR WALLIS: It looks as if almost  
19 all of this is Russian data?

20 MR. KELLY: These two or a lot of it is,  
21 yes. And just because I was able to find it, although  
22 I had digitized a lot of this stuff. I spent a lot of  
23 time typing numbers in. The correlations I looked at  
24 are here and I have written them in two different  
25 ways. One is the surface average Nusselt no.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 referenced to the Nusselt, you know, film.

2 VICE CHAIR WALLIS: They don't have an  
3 effective Reynolds no., but the data don't seem to  
4 pull together on the plot of Nusselt versus Roan.

5 MR. KELLY: It's condensation data. It's  
6 highly uncertain. And what I have done over on this  
7 side is rewrite all of these correlations in using a  
8 Nusselt no. that's a function of the film thickness  
9 and say for the Nusselt laminar film theory, you get  
10 a Nusselt no. of 1. And so all these others work to  
11 be some function of a liquid film Reynolds no. that  
12 provide an enhancement overlap.

13 VICE CHAIR WALLIS: It doesn't make sense.  
14 Well, maybe I'm misunderstanding. What's your  
15 previous plot, Nusselt no. versus Reynolds no.?

16 MR. KELLY: Yes, but it's this Nusselt  
17 no., which is heat transfer coefficient times that  
18 laminar link scale, you know, the viscosity squared  
19 over  $G \Delta \rho$  times  $\rho$  to the 1/3 power divided by  
20 the liquid connectivity, averaged over the surface.  
21 So the first thing you do, the first step is to get  
22 rid of the averaging and that's basically -- I mean,  
23 you have to do it. You have to -- you know, this has  
24 been integrated over the surface. You have to undo  
25 the integration.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           There is a way, that I took it from  
2 Butterworth, to do that and so then that ends up  
3 changing this coefficient, leaving the power the same  
4 and then what I ended up doing was dividing, changing  
5 the link scale that I referenced all these to a smooth  
6 laminar film, and that's how you go from this to this.

7           VICE CHAIR WALLIS: It seems to make more  
8 sense. The Nusselt theory is the Nusselt no. is 1.

9           MR. KELLY: Right.

10          VICE CHAIR WALLIS: When you plot it  
11 versus Reynolds no. in this peculiar way, it doesn't  
12 show that.

13          MR. KELLY: Oh, and that's -- yes. That's  
14 because of this. And if you go and look at all of the  
15 condensation data, I mean, especially since most of  
16 this is old, that's how it is all reported. And in a  
17 lot of the papers and handbooks that's how the  
18 correlations are given. And the theory, well, part of  
19 the rationale is simply that way you don't have to  
20 calculate the film thickness.

21          VICE CHAIR WALLIS: Yes.

22          MR. KELLY: But since we are calculating  
23 the film thickness, we should use it.

24          VICE CHAIR WALLIS: Okay.

25          MR. KELLY: So I put together a database

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that has almost 900 points on it. Obviously, this is  
2 the turbulent region. The reason these are separated  
3 is different Prandtl nos., which doesn't show up.  
4 Again, this is that same surface average Nusselt no.  
5 The black line is Nusselt. It's a lower band of the  
6 data. The one by Kutateladze is pretty high and this  
7 one by Labuntsov --

8 VICE CHAIR WALLIS: Well, this is almost  
9 like the plot of materials table.

10 MR. KELLY: Yes.

11 VICE CHAIR WALLIS: Electronic, and are  
12 you saying these numbers are functional, are you?  
13 What are you trying to convince me about here?

14 MR. KELLY: Well, I'm trying to say that  
15 it is a function of the film Reynolds no. due to the  
16 waviness effect.

17 VICE CHAIR WALLIS: So they extrapolate  
18 out to tender the fourth or something. I got off by  
19 order of magnitude easily.

20 MR. KELLY: Because you didn't consider  
21 the turbulent transition.

22 VICE CHAIR WALLIS: Yes.

23 MR. KELLY: Now, what you have to do is  
24 take the turbulent model.

25 VICE CHAIR WALLIS: Yes, okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. KELLY: And again, these are surfaced  
2 averages and you have to --

3 VICE CHAIR WALLIS: In all the books there  
4 is another line up there, isn't there?

5 MR. KELLY: Yes, either that or they chop  
6 the plot, one of the two. So we're just talking about  
7 laminar films at the moment, and I'm going to get  
8 back --

9 VICE CHAIR WALLIS: It's just a film  
10 without much --

11 MR. KELLY: The laminar, no vapor  
12 velocity.

13 VICE CHAIR WALLIS: Just a falling film?

14 MR. KELLY: Just a falling film. And this  
15 is how uncertain the data is. I'm going to get to  
16 some better data. Now, this is what I was using to  
17 make a selection, and I had tentatively selected the  
18 Labuntsov Model, which is actually a fairly modest  
19 increase over Nusselt, but I decided I should look at  
20 the UCB-Kuhn test, since that actually bracketed the  
21 range of film Reynolds nos. and vapor Reynolds nos.  
22 that I was interested in.

23 This is still the funny Nusselt no. in the  
24 sense that I'm using the laminar viscus, if you will,  
25 link scale, and so I took all of their data and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 plotted it in these coordinates and you notice that  
2 this is not, in any way, corrected for the effects of  
3 interfacial shear. As I've said interfacial shear is  
4 fairly modest in these tests. And as you expect,  
5 Nusselt under-predicts most of the points, but these  
6 other models pretty significantly over-predict.

7 And even Labuntsov, which was the lowest  
8 of them, over-predicts somewhat and this is with no  
9 interfacial friction correction. Now, we're going to  
10 go to Nusselt no. that you are more familiar with.  
11 One based upon the film thickness, but to do that I  
12 had to calculate the film thickness, because it was  
13 not measured. So I took my best shot at calculating  
14 it, switched the Nusselt no. based upon the film  
15 thickness, plotted versus film Reynolds no., here is  
16 your Nusselt number of 1. Okay?

17 VICE CHAIR WALLIS: Well, it looks to me  
18 as if this is just ripe for a Kelly line.

19 MR. KELLY: No, no, no.

20 VICE CHAIR WALLIS: None of them is very  
21 good.

22 MR. KELLY: Right. So what I'm going to  
23 do --

24 VICE CHAIR WALLIS: The Kelly curve.

25 MR. KELLY: No, no, no. I might want --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 VICE CHAIR WALLIS: Kuhn-Schrock.

2 MR. KELLY: I considered that, okay,  
3 because I would have fit this a little bit  
4 differently, but I'm going to use the one that the  
5 experimenter came up with, and I like it for two  
6 reasons. It goes to the value of 1 with zero film  
7 Reynolds no., as it well should. And then it very  
8 naturally comes up. Now, I think it actually should  
9 have a higher slope in here, but that's another thing.

10 So I was trying to make a model that was  
11 pure untainted by using the data that I was going to  
12 later compare against, but in this particular case I  
13 found that wasn't viable. So I went ahead and used  
14 the model that was developed against this data, simply  
15 because it was better.

16 MR. DENNING: Let me try and understand  
17 this. You have used the Kuhn-Schrock-Peterson fit of  
18 their data, on their data.

19 MR. KELLY: Right.

20 MR. DENNING: And that's okay. But are we  
21 sure that the Kuhn data is the most applicable to the  
22 plant?

23 MR. KELLY: I am, yes.

24 MR. DENNING: And it is the best quality  
25 control data?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. KELLY: Yes. From everything I have  
2 seen by looking through the literature and looking at  
3 how the data was taken, yes. And what you will see if  
4 you look at a lot of the earlier tests, it would go  
5 directly and measure condensation with non-  
6 condensibles and never measure it with pure steam. So  
7 Kuhn is one of the few that have actually done both.  
8 And so I'm only looking at the pure steam data here,  
9 which, of course, is not the plant condition. But I'm  
10 just doing that to get the wall-liquid heat transfer  
11 coefficient.

12 VICE CHAIR WALLIS: You never have fewer  
13 steam either.

14 MR. KELLY: Right.

15 VICE CHAIR WALLIS: So you're saying the  
16 non-condensibile fraction is less than some value?

17 MR. KELLY: Yes, these are reported as  
18 zero, but, of course, it's --

19 VICE CHAIR WALLIS: No, you never have  
20 that.

21 MR. KELLY: Right. Especially if the  
22 steam comes from -- well, actually, in this case, the  
23 steam did not come from the physical plant. They had  
24 a little boiler, you know, where you run it for a long  
25 time and try to get the non-condensibles out of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 system. So that was the laminar film.

2 VICE CHAIR WALLIS: So you were distracted  
3 by all this Russian work and correlation and you went  
4 to some, eventually, thing done locally?

5 MR. KELLY: True.

6 VICE CHAIR WALLIS: Essentially, kind of.

7 MR. KELLY: And also more modern, data  
8 from the '60s versus data from the '90s.

9 VICE CHAIR WALLIS: Right. I'm suspicious  
10 of some of this old data. I mean, they didn't control  
11 things so well.

12 MR. KELLY: They did the best, you know,  
13 it's hard. If you go in the lab and try and measure  
14 condensation data, it's not easy. So we now have a  
15 model for laminar film. What are we going to do for  
16 a turbulence film?

17 VICE CHAIR WALLIS: This is about the  
18 simplest case you could think about.

19 MR. KELLY: Yes.

20 VICE CHAIR WALLIS: And you still got  
21 trouble getting feathers that fit together.

22 MR. KELLY: That's true.

23 VICE CHAIR WALLIS: Okay.

24 MR. KELLY: That's why you should never  
25 look at more than one data set. For turbulent films,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 it's more difficult, because we have the same problem  
2 in the database, it's all averaged over the entire  
3 heat transfer surface. That means a lot of the  
4 surfaces in laminar and only part of it is in  
5 turbulent.

6 VICE CHAIR WALLIS: Yes.

7 MR. KELLY: And you are getting the  
8 interval effect. There is no straightforward way to  
9 subtract out the laminar and only look at the  
10 turbulent to compare turbulent models to. So that's  
11 a problem. Then if you look at sheared film data,  
12 like the NASA data, where I do have, if you will,  
13 "local values" that data itself has very large  
14 uncertainties, and then when you go to do an analysis  
15 of it, you're relying upon a calculated film thickness  
16 and there is an uncertainty with respect to that.

17 To make it even worse, if you go and look  
18 at some of the correlations for turbulent film  
19 condensation, they are really all over the map and  
20 I'll show you that in just a second. So what am I  
21 going to do? I went and looked at turbulent film  
22 heating data, because in this case you control the  
23 wall heat flux, you can have a much better idea of  
24 what the wall to liquid heat transfer coefficient is.  
25 Then the interfacial heat transfer, which is the one

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 as I said 4 is highly uncertain, we'll talk about,  
2 we'll treat separately and talk about that later.

3 This is an example of how widely spread  
4 the turbulent film condensation models are. I looked  
5 at six different models and again the Nusselt no.  
6 based upon the laminar link scale versus film Reynolds  
7 no. just for two different Prandtl nos. and you're  
8 seeing a factor of about 3 just between correlations.

9 VICE CHAIR WALLIS: These are the same  
10 experiments or are they different in some way?  
11 Different fluids or different pipe size?

12 MR. KELLY: These are Prandtl nos. of 1  
13 and 2, so most of these are --

14 VICE CHAIR WALLIS: They are probably very  
15 much the same experiment.

16 MR. KELLY: Yes.

17 VICE CHAIR WALLIS: So even in the same  
18 experiment, they can't get the same answer.

19 MR. KELLY: That's true. I mean, a factor  
20 of 3 is pretty amazing.

21 VICE CHAIR WALLIS: Did you try  
22 correlating with longitude?

23 MR. KELLY: So how do you choose which of  
24 those is right? Well, I decided to punt and go look  
25 at film from heating data, because this is much better

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 control. On this slide, I don't show you the data,  
2 but I show you a Nusselt no. based upon film thickness  
3 versus film Reynolds no. The LOCA correlation is the  
4 one that almost every handbook recommends. It  
5 actually has 4 different correlations pieced together.  
6 I'm not sure if this is Russian. I'm not sure if it's  
7 Gimbutis or Gembutis, but they almost over-raise it,  
8 even though it was developed from a different data  
9 set. And so that's a good sign.

10 Gnielinski is nothing more than a single  
11 phase, it's like a modern form of Dittus-Boelter. If  
12 you're familiar with the Patukoff, it's basically the  
13 same. And so what I did is just modify it for liquid  
14 film. And what that is you divide by 4 because of the  
15 way the hydraulic diameter is calculated. All three  
16 of these overlay, so I can use any of those three with  
17 the same, you know, degree of veracity.

18 VICE CHAIR WALLIS: Now, how do we compare  
19 this with what was on the previous slide or is it  
20 something different we're looking at?

21 MR. KELLY: Well, the previous slide was  
22 following some condensation data.

23 VICE CHAIR WALLIS: But the number --

24 MR. KELLY: Not data.

25 VICE CHAIR WALLIS: -- was quite

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 different.

2 MR. KELLY: Okay. That's because those  
3 are a different number with the asterisk which uses  
4 the laminar viscous link scale.

5 VICE CHAIR WALLIS: So I can't compare  
6 them?

7 MR. KELLY: Right. And the other is  
8 referenced to the film thickness.

9 VICE CHAIR WALLIS: So be very careful  
10 when you use Nusselt no. that you define it each time,  
11 because it seems to be different.

12 MR. KELLY: That's true. I was just  
13 trying to shorten the presentation by not having all  
14 the extra slides, but you are right, I should have.

15 VICE CHAIR WALLIS: Well, I didn't know.

16 MR. KELLY: So this gives you an idea of  
17 what the heating correlations look like relative to  
18 actual heating data. I have two different sets here.  
19 Actually, this is by bay.

20 VICE CHAIR WALLIS: These are all heating  
21 of film?

22 MR. KELLY: This is all heating of film  
23 where you can make a local measurement and you know  
24 what the heat flux is, you know, with uncertainty, but  
25 a lot better than condensation tests. So in both

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 cases this is the Nusselt no. with the asterisk and  
2 this one is just divided by a Prandtl no. to the .34  
3 because that's what Wilke uses and just made the  
4 comparison a little bit easier. Both correlations  
5 give a pretty good representation of the data.

6 Wilke is a little bit closer, but of the  
7 high film Reynolds nos., I like the behavior of the  
8 Gnielinski better.

9 VICE CHAIR WALLIS: So this asterisk one  
10 is sort of comparable with the Chen-Gerner-Tien,  
11 Colburn, Kirkbride, Kutateladze, all that stuff you  
12 showed earlier?

13 MR. KELLY: Yes.

14 VICE CHAIR WALLIS: It's sort of on the  
15 same page any way.

16 MR. KELLY: Yes, that's true. So we now  
17 have defined the wall heat transfer, wall-liquid heat  
18 transfer coefficient. And now we're going to really  
19 jump off into uncertainty space and talk about  
20 interfacial heat transfer. I am not going to talk  
21 about the vapor to interface, because it's basically  
22 negligible in everything we see. So we're going to  
23 now talk about the liquid-interface. I should say  
24 interface to liquid.

25 Again, laminar and turbulent films.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Laminar films we have already treated. What I showed  
2 you was the Kuhn-Schrock-Peterson correlation or that  
3 fit. That was for the total heat transfer resistance  
4 across the film, which has the components both of wall  
5 to film and interface to film. It has them combined,  
6 and so I'm just putting that heat transfer resistance  
7 between the two, because I don't know anything better,  
8 which should make the liquid film temperature lie  
9 halfway between the wall temperature and  $T_{sat}$ .

10 For turbulent film, I just showed you the  
11 wall heat transfer. I feel pretty confident about  
12 that.

13 VICE CHAIR WALLIS: This NWU is Bankoff or  
14 something?

15 MR. KELLY: Exactly. And that's where we  
16 are going now.

17 VICE CHAIR WALLIS: So now you've brought  
18 in another actor in this.

19 MR. KELLY: Right.

20 VICE CHAIR WALLIS: Okay.

21 MR. KELLY: See if I use everyone's model,  
22 then I'll make everyone happy, but not exactly. So  
23 we're going to look at his co-current flow data.  
24 Unfortunately, there were no tests for vertical co-  
25 current flow, only horizontal, so there can be some

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 differences there. And then because this is over a  
2 fairly limited film Reynolds no. range, only about  
3 2,000 to 40,000, I'm going to go look at some other  
4 data. That's actually above our range, so I'm going  
5 to look at some other data to try to get it closer to  
6 our Reynolds no. range.

7 This is an example of some of the  
8 correlations I was looking at and I've got seven of  
9 them there and now they vary by an order of magnitude.  
10 You know, for condensation, it was a factor of 3. For  
11 interfacial it's an order of magnitude. And by  
12 looking at those, you can also see the Reynolds no.  
13 dependence varies from something like three-quarters  
14 to about one and a half and that's just in the  
15 correlations. The data, of course, is worse.

16 Well, here is some of the data. Vertical  
17 axis is a Nusselt no. based upon film thickness that  
18 was measured in these experiments divided by the  
19 liquid Prandtl no. to the half power, which is how  
20 Bankoff correlated this later. It's for horizontal  
21 co-current flow. I have plotted against film Reynolds  
22 no. and I have plotted it, identified the individual  
23 measurement stations, and of course did that for a  
24 reason, and that's to show off an entrance link  
25 effect.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           It's co-current horizontal the first  
2 station is, you know, just immediately downstream of  
3 the inlet and you get higher condensation rates. As  
4 you go down each progressive measurement station the  
5 heat transfer rate, the heat transfer coefficient  
6 decreases, but the last two stations, station 4 and 5,  
7 pretty much overlay. One of the early models proposed  
8 by Bankoff was what he called a "turbulent center  
9 model."

10           VICE CHAIR WALLIS: I wonder if the  
11 effective station is as big as the effective Reynolds  
12 no.?

13           MR. KELLY: Yes, yes.

14           VICE CHAIR WALLIS: So you really ought to  
15 have an  $l$  over  $d$  or something in the correlation. If  
16 you're just going to use Reynolds no., it's pretty  
17 misleading.

18           MR. KELLY: Yes. And if you want to try  
19 to do a very good job on these experiments, you  
20 probably should.

21           VICE CHAIR WALLIS: Now, you can't use  
22 horizontal though.

23           MR. KELLY: Because that's the only data.  
24 I will show you some vertical, but the vertical I'm  
25 going to show you is counter-current. Okay? This is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 an area where I think the code is highly uncertain and  
2 where we may consider doing an experiment in the near  
3 future with the next round of the Thermal-Hydraulic  
4 Institute. So the first model that Bankoff proposed  
5 was what he called a "turbulent center model." So the  
6 Nusselt no. is based upon the film thickness and the  
7 film Reynolds no. that he correlated against he used  
8 what he called a "turbulent velocity," but he ended up  
9 just saying it was something like 30 percent of the  
10 main film velocity.

11 So what you end up with is this blue line  
12 and it is nothing more than a constant times the film  
13 Reynolds no. to the three-quarter power times the  
14 liquid Prandtl no. to the half.

15 VICE CHAIR WALLIS: Excuse me. You know  
16 all this stuff. You have explored all this. But some  
17 regulator from NRR who uses TRACE just to sort of  
18 blindly predict something and doesn't know that for  
19 this particular application the  $l$  over  $d$  is so short  
20 that he really ought to worry about something, and  
21 then, you know, the regulator makes a decision.

22 MR. KELLY: Well --

23 VICE CHAIR WALLIS: How do you get this  
24 kind of confusing information to the user?

25 MR. KELLY: To do the job right, okay, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we did the job right, in my estimation we did AP-600,  
2 what you do is a very detailed code applicability  
3 study.

4 VICE CHAIR WALLIS: We look at the range  
5 of those things?

6 MR. KELLY: Yes. You start with the part,  
7 you identify the important phenomena and the step that  
8 most often is overlooked is you identify the ranges  
9 over which those phenomena are important. You know,  
10 what's the Reynolds no. range, etcetera, etcetera.  
11 You go out you identify separate effects tests for  
12 each of those. You assess the code against those  
13 separate effects tests for all of those highly ranked  
14 phenomena over the range where they are important.  
15 I'm talking about a big effort. Then you have  
16 interval scale, interval data, hopefully at a couple  
17 different scales and you run the code against that.

18 VICE CHAIR WALLIS: This looks so  
19 complicated. It seems to me that if you left the  
20 Agency, there probably would be nobody who understands  
21 it well enough to figure it all out.

22 MR. KELLY: Well, Wei Dong is my  
23 understudy and I'm hoping also to bring Shawn Marshall  
24 along that way too. But that's the nature of any  
25 code.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   VICE CHAIR WALLIS: The problem I see here  
2                   is that an applicant could be selective in choosing  
3                   which data set to show agrees with his correlation and  
4                   could then make it look as if his analysis is very  
5                   good. Unless you are really experienced and smart,  
6                   you wouldn't know that he is being very selective in  
7                   choosing which data set to use in order to make a  
8                   point.

9                   MR. KELLY: That's true. And, you know,  
10                  it's the applicant's responsibility to show that the  
11                  data is in the right -- covers the right ranges and,  
12                  you know, show how well or not it does. But it's not  
13                  easy.

14                  CHAIRMAN RANSOM: Well, it seems to me  
15                  that's an argument for the Agency having a standard  
16                  that we trust and basically to measure the applicant,  
17                  how his code or calculations would do relative to  
18                  that.

19                  MR. KELLY: Yes.

20                  CHAIRMAN RANSOM: And, of course, you're  
21                  going to document all this, right, so that it can be  
22                  retrieved.

23                  VICE CHAIR WALLIS: Well, some applicants  
24                  still use something antiquated like one of these  
25                  Wallis correlations, which was produced in five

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 minutes by a graduate student in '62, and you have  
2 shown there a better correlation. Should we therefore  
3 not allow them to do that?

4 MR. KELLY: Well, historically, what the  
5 Agency has done is it's the burden of the licensee to  
6 prove that the analysis works for its intended  
7 application. And if interfacial friction and annular  
8 flow is a no, never mind for the transit of interest,  
9 then maybe they shouldn't have to go back and retrofit  
10 the code.

11 VICE CHAIR WALLIS: I don't see that.  
12 When we looked at -- maybe I shouldn't be specific,  
13 when I looked at huge volumes of code documentation  
14 from well-known applicants, well-known vendors, they  
15 seem to just agree with any use of correlation here  
16 and the rest of the correlation they therefore will  
17 make one up, because it has the right limits and we'll  
18 do all this stuff and then it's all put together. And  
19 then there is a curve. I never say any detailed  
20 justification of why these equations were justifiable.  
21 And you have to dig very deeply then to find out what  
22 they are using.

23 MR. KELLY: Yes. Which is why I take a  
24 different approach.

25 VICE CHAIR WALLIS: Well, this is why,

1 perhaps, we should be pretty careful and cautious and  
2 conservative in assuming that you can predict things.  
3 Very aware of the range of uncertainties.

4 MR. SIEBER: This is really the first time  
5 that we have examined this give and take between  
6 correlations and the data that underlie. I think it  
7 is very good myself.

8 MR. KELLY: Thank you.

9 MR. SIEBER: It will become like other  
10 codes, you know, once it goes to some user some place,  
11 the user won't have that background and will accept,  
12 you know, the results as though it's error free.

13 MR. KELLY: Based on -- yes, that's true.  
14 And, of course, the eventual road map for all this.  
15 You know, we had to do the consolidation. Two things  
16 surprised us, I would say. Joe may correct me. The  
17 first is how much work it was to try to be able to do  
18 a translation of a RELAP5 input deck to a TRACE deck.  
19 We spent a lot of time on that. We didn't think it  
20 was going to be easy, but it was more work than we  
21 anticipated, I would say.

22 The other thing that surprised me is how  
23 bad the extent physical models in the TRACE Code were  
24 and how much work we're now having to do, now that  
25 we're at the point where we can focus on this to, if

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you will, recover what should have been there to begin  
2 with.

3 VICE CHAIR WALLIS: If you show us the  
4 next graph, I mean, here is George Bankoff doing the  
5 best he can with his own data. The next figure, page  
6 39.

7 MR. KELLY: Yes, well, let me back up just  
8 a second. This one, this correlation did not come  
9 from this data. I think he actually did this from  
10 some earlier data and then adjusted the coefficient on  
11 it, so it went in the middle of the data. I went and  
12 adjusted the coefficient on it so it fit the fully  
13 developed data. So then you could add if you decided  
14 to the entrance link effect.

15 VICE CHAIR WALLIS: Right.

16 MR. KELLY: And then I thought well, this  
17 is actually a Reynolds no. range above where we are.

18 VICE CHAIR WALLIS: Well, this is NWU.  
19 This is Bankoff's own data.

20 MR. KELLY: Yes.

21 VICE CHAIR WALLIS: Versus his own theory.

22 MR. KELLY: Well, he had several theories.  
23 Okay. Each experiment spawned a different one.

24 VICE CHAIR WALLIS: Each experiment has a  
25 different theory?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. KELLY: And what I'm showing is  
2 actually one of the simplest and one of the first, and  
3 I'm doing that for a couple of reasons. The first  
4 correlations they came out with, let's see, is this  
5 the right marker for these, do you know? They were of  
6 the form.

7 MR. SIEBER: You can write on this.  
8 Whoops.

9 MR. KELLY: It's sort of hazardous here.  
10 They were written in the form of a Nusselt no., a  
11 coefficient times the gas Reynolds no. to some power  
12 times a film Reynolds no. to power times prandtl no.  
13 to the one-half. And he picked one-half because  
14 that's mass transfer and he didn't have enough  
15 variation in his data to determine it.

16 Well, there is three things wrong with  
17 this correlation that, as far as I'm concerned, make  
18 it unsuitable for use. The first is it's  
19 multiplicative in the gas and film Reynolds nos. You  
20 know, this is supposed to mainly take the effect of  
21 interfacial drag. If this is zero and you have a  
22 falling film, you've got a zero Nusselt no., so I  
23 can't use it.

24 The next thing is that it's the gas  
25 Reynolds no. The interfacial shear is more dependent

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 upon a relative velocity, not the Reynolds no. Like  
2 if you look at these tests, you know, there was a  
3 container here and so the Reynolds no. is a function  
4 of that distance. So you just make the container  
5 bigger, same velocity, you get a different Reynolds  
6 no. You see, there are a number of papers where they  
7 say, you know, well, this guy's Reynolds no. effect  
8 was this. We found something completely different.  
9 That's part of the reason. That's the second reason.

10 The third is that by putting them both  
11 together like this, there is a confounding effect. If  
12 all of your high film Reynolds no. data occurs when  
13 you are at a low gas Reynolds no., you can't separate  
14 the two unless you've done some kind of parametric.

15 VICE CHAIR WALLIS: Do they go together?  
16 I mean, you increase the flow rate, you increase the  
17 flow rate of both phases, because you're condensing.

18 MR. KELLY: Right.

19 VICE CHAIR WALLIS: So do they go  
20 together?

21 MR. KELLY: Right. So there are three  
22 things. But even when he did this correlation, he, I  
23 should say students or a series of students, it's  
24 pretty widely scattered. And when Professor Banerjee  
25 was here, he said I should use the northwestern

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 correlation, and it was a later one, and it was a  
2 later turbulent center model. And when you look at  
3 the documents, the NUREGs, it looks great. For  
4 condensation data, especially interfacial, it goes  
5 right through the middle of the data and the scatter  
6 is pretty small.

7 So I thought well, yes, that looks pretty  
8 good. Well, what's wrong with it? Why am I not using  
9 it? Again, a Nusselt no. based upon the film  
10 thickness, okay, and now it's just very simple  
11 correlation, coefficient times what he called a  
12 turbulent Reynolds no. to power, Prandtl no. to the  
13 one-half.

14 VICE CHAIR WALLIS: Okay.

15 MR. KELLY: And it fit the data  
16 marvelously. So what's wrong with it? Well, you have  
17 to look at what's the definition of the turbulent  
18 Reynolds no.? And it's, okay, liquid density, what do  
19 you call a turbulent viscosity, film thickness over  
20 the liquid viscosity. So far so good. Where does the  
21 turbulent velocity scale come from? Move over here.

22 VICE CHAIR WALLIS: That's effected by  
23 interfacial drag.

24 MR. KELLY: Yes, exactly. He used a  
25 friction velocity based upon interfacial drag. It

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 still makes sense. Okay?

2 VICE CHAIR WALLIS: Yes.

3 MR. KELLY: With the one caveat that now  
4 if you have no interfacial drag, because it's a  
5 falling film, this goes to zero. So it still has that  
6 defect in it. But boy it still fit his data very  
7 well, so why am I not using it? Well, as we talked  
8 earlier about interfacial drag --

9 VICE CHAIR WALLIS: Now, you start with an  
10 interfacial drag which depends on the velocity of the  
11 vapor, so the Reynolds no. for the liquid actually  
12 contains the velocity of the vapor.

13 MR. KELLY: Right.

14 VICE CHAIR WALLIS: I find it peculiar.

15 MR. KELLY: It's worse than that. Whoops,  
16 that's a gamma. When we talked about interfacial  
17 shear and condensation, that's a sum of two  
18 components, an adiabatic term, which we normally call  
19 interfacial shear, and a mass transfer term, that's  
20 what they did. They used the correlation for this and  
21 calculated this one as basically gamma times v rel.  
22 Actually, they may have used v gas and then later said  
23 they should have used v rel. But then, that's  
24 negligible for their test.

25 So their turbulent velocity scale is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 nothing more than the condensation rate. So you've  
2 now got your condensation Nusselt no. as a function of  
3 your condensation rate.

4 VICE CHAIR WALLIS: Culminated against  
5 itself.

6 MR. KELLY: That's a good way to get a  
7 model that looks pretty good.

8 VICE CHAIR WALLIS: You're making me very  
9 happy on two scores. One is that I stopped working on  
10 condensation. The other thing is that I have refused  
11 to review papers like this since I joined the ACRS.  
12 Because it's extraordinarily difficult to decide  
13 whether or not the paper based on this kind of stuff  
14 is valid or not.

15 MR. KELLY: Unless you get in and look at  
16 it. You can't do it in a few minutes.

17 VICE CHAIR WALLIS: No.

18 MR. KELLY: So --

19 VICE CHAIR WALLIS: I wonder whether you  
20 are giving me confidence or not. You're giving me  
21 great confidence in your ability to analyze stuff.

22 MR. KELLY: Well, then I'm hoping you'll  
23 have some confidence in my bottom line.

24 VICE CHAIR WALLIS: It's just the kind of  
25 thing, I mean, you have pointed out something which,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you know, you can do if you really dig into it. Gee  
2 whiz, they're correlating X against X or whatever,  
3 gamma versus against gamma.

4 MR. KELLY: Yes, I found that more than  
5 once.

6 VICE CHAIR WALLIS: Against itself, no  
7 matter what the theory is. And yet, it may well be  
8 that this theory is being used in some code to justify  
9 a regulatory decision.

10 MR. KELLY: I don't know of any, but it  
11 could be.

12 VICE CHAIR WALLIS: Right. And the  
13 problem then is that someone like an ACRS Member reads  
14 all this and says you shouldn't use that, because they  
15 call it in gamma against gamma and it's -- then it's  
16 very difficult for the Agency to backtrack and say  
17 well, we approved this code, therefore, it's okay.

18 MR. KELLY: Yes.

19 VICE CHAIR WALLIS: And not pay attention.  
20 You should go on.

21 MR. KELLY: Yes. Okay. So I started with  
22 the co-current data because that's the situation I  
23 have. But they only had horizontal and I'm, of  
24 course, vertical. But the real problem was it's over  
25 a fairly limited range of data and that's these blue

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 diamonds, that's what was on the previous slide.

2 VICE CHAIR WALLIS: Yes.

3 MR. KELLY: Most of my stuff is down in  
4 here for the ESBWR application. So can I trust that  
5 line or not? No, of course. Well, so I looked at the  
6 other two Bankoff experiments, the above counter-  
7 current, one was horizontal, that's the green circles,  
8 the yellow triangles are vertical.

9 VICE CHAIR WALLIS: I would try it all,  
10 except the vertical, because vertical is what you have  
11 in ESBWR.

12 MR. KELLY: Yes. And I was amazed that  
13 the horizontal and vertical counter-current pretty  
14 much overlaid.

15 VICE CHAIR WALLIS: You have co-current in  
16 ESBWR.

17 MR. KELLY: Yes. And you expect those to  
18 be different, but how much?

19 VICE CHAIR WALLIS: But counter-current  
20 tends to make bigger waves, because, you know, trying  
21 to hold up the liquid or the vapor.

22 MR. KELLY: So I would expect higher heat  
23 transfer rates. And that was actually one of the  
24 surprising things is that these fell away from the  
25 horizontal co-current. I expected -- if you had asked

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 me beforehand, I would have said they might be an  
2 order of magnitude higher.

3 VICE CHAIR WALLIS: But also the film  
4 tends to get fatter, because it's harder to transport.

5 MR. KELLY: Exactly. Exactly. And that  
6 seems to be what drives it. So I looked at that and  
7 I was tempted to put a line through it, you know, and  
8 call it a Kelly --

9 VICE CHAIR WALLIS: Downflow, this has no  
10 hope of correlating upflow data. It's a completely  
11 different problem.

12 MR. KELLY: So at any rate, that has a  
13 Reynolds no. dependent. But remember, my Nusselt no.  
14 here has a film thickness built in to it, and that was  
15 measured in the heat test. So that effect is out in  
16 the sense of it's an average film thickness, you know,  
17 a mean film thickness and, of course, with waves that  
18 vary a lot. That's about a Reynolds no. to the 2  
19 power, which none of the correlations are.

20 And I want to say it's the laminar-  
21 turbulent transitions, but that's not right, because  
22 this starts at about a Reynolds no. of 10,000 and  
23 comes down around 6,000. And actually the laminar-  
24 turbulent transition should be over in here. So I  
25 still don't have anything, at least not anything I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 want to put my hat on.

2 So I went back to the Kuhn test, the pure  
3 steam ones. And so they measured the total heat  
4 transfer resistance across the film and I simply  
5 double it saying that the interfacial is, you know,  
6 half of the resistance, so I doubled the Nusselt no.,  
7 that's why I'm calling this inferred data.

8 VICE CHAIR WALLIS: That's why it's 2  
9 rather than 1?

10 MR. KELLY: Right. Because it's from the  
11 liquid film temperature to the interface. And the  
12 blue line is that Kuhn-Schrock-Peterson Model that I  
13 showed you earlier, the curve fit is a better  
14 description for it, rather than a model. This is  
15 where I am. What am I going to use for a turbulent  
16 film? At this point, I don't have a good model.

17 CHAIRMAN RANSOM: I'm surprised that none  
18 of these models have attempted to use the relative  
19 velocity in the correlation or to define a Reynolds  
20 no. based on the relative velocity. You would think  
21 that would be more reasonable.

22 MR. KELLY: Well, you know, this is kind  
23 of that approach.

24 CHAIRMAN RANSOM: Yes.

25 MR. KELLY: Where they are going to use a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 friction velocity on Tal/I, but then it turned out for  
2 the conditions of these tests, the mass transfer term  
3 was much larger. What you would expect, Vic, is  
4 something that's the function of the film Reynolds  
5 no., because that's turbulence in the film, multiply  
6 it by something, you know, there is like 1+ and then  
7 some function of the relative velocity. But I didn't  
8 find that.

9 VICE CHAIR WALLIS: Now, if I were trying  
10 to assess ESBWR, it would seem to me that I wouldn't  
11 really want to rely on any of these correlations that  
12 go through data. I would want to say this thing has  
13 to work.

14 MR. KELLY: Yes.

15 VICE CHAIR WALLIS: So I want to know some  
16 extreme case. Now, the worst it could possibly be is  
17 a Reynolds no. which is below all these data. And as  
18 long as the system will work for that, I'm pretty  
19 assured it will work.

20 MR. KELLY: Yes.

21 VICE CHAIR WALLIS: That would make more  
22 sense then fiddling around with a whole other  
23 correlation that sometimes work and sometimes don't  
24 and work for so and so's data and not for somebody  
25 else's.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. CARUSO: And that's actually what you  
2 use.

3 VICE CHAIR WALLIS: And this is why you  
4 need something like the PANTHERS test where they  
5 actually measured the real thing. If you can  
6 correlate that with no theory at all, it's correlated.

7 MR. KELLY: Yes.

8 VICE CHAIR WALLIS: Fit the data. Then  
9 that maybe is much more reasonable, because it's a  
10 full scale test on the realistic condition.

11 MR. KELLY: Now, I won't disagree with  
12 that.

13 VICE CHAIR WALLIS: It seems to indicate  
14 that we still need full scale tests for reactor  
15 licensing for certain phenomena.

16 MR. SIEBER: I think that's true, but I'm  
17 not sure that you can construct a laboratory  
18 experiment or a test that will mimic everything you  
19 need to know about axial conditions in a reactor. You  
20 are bound to go beyond the rate of the data. And so  
21 without a first principle's foundation for the  
22 correlations that you have, it's not clear to me that  
23 you're going to end up in any known condition.

24 MR. KRESS: Well, you probably can for  
25 this sort of thing, commencing in a tube. You can

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 probably make a pretty good simulation.

2 MR. KELLY: Because it's your diameter.

3 MR. KRESS: Yes.

4 MR. KELLY: Right.

5 MR. KRESS: And that would be too

6 difficult.

7 MR. KELLY: But if you extrapolate up to

8 a pipe that's a meter in diameter.

9 MR. KRESS: Oh, then you've got it. Yes.

10 MR. KELLY: And that's the problem we  
11 have. One of the reasons I spent as much time as I  
12 did looking at the northwestern data was we had a  
13 condensation problem in the code, in the Code Reg, due  
14 to the model and basically stratified flow and it was  
15 due to the models that were in the code.

16 VICE CHAIR WALLIS: Yes.

17 MR. KELLY: And so I wanted to come up  
18 with a better estimate of the model and that was part  
19 of the reason I started looking at the northwestern  
20 data. And I need a model for turbulent film  
21 condensation in stratified, in annular film for things  
22 like Code Regs and down-comers, not just for PCCS  
23 tubes. And so I resisted the urge to draw a line  
24 through this. I may, if I don't run a small scale  
25 experiment, end up doing that some day.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 VICE CHAIR WALLIS: Well, this is just  
2 through the Northwestern University data?

3 MR. KELLY: That's the only data I could  
4 find out there with local measurements of interfacial  
5 condensation rates, because that's hard to do.

6 VICE CHAIR WALLIS: But a lot of it is  
7 horizontal flow, which isn't necessarily the same  
8 thing.

9 MR. KELLY: Right.

10 VICE CHAIR WALLIS: It could be the flow  
11 tends to be more stratified, presumably.

12 MR. KELLY: Yes, and I didn't have any  
13 vertical co-current.

14 VICE CHAIR WALLIS: This vertical counter-  
15 current flow, what they have is vertical co-current  
16 downflow in the PCCS.

17 MR. KELLY: Right.

18 VICE CHAIR WALLIS: So none of these data  
19 are really for the conditions in the PCCS.

20 MR. KELLY: Right. But it was what I  
21 could find. This is what I chose to use. Again, I  
22 already have the Gnielinski Model in the code. We use  
23 it for a number of other things. If you multiply by  
24 .7 it fits the Bankoff Model at high film Reynolds  
25 nos. and what it at least does is fall off, so it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 doesn't over-predict as badly. And what I found by  
2 looking at actual film condensation data, the Kuhn at  
3 UCB and in the NASA data, for the Kuhn data you need  
4 very low values at the interfacial.

5 VICE CHAIR WALLIS: Joe, if you use .7  
6 times Gnielinski, you are a factor of 5 or something  
7 high on predicting heat transfer coefficient for some  
8 of these data.

9 MR. KELLY: That's right.

10 VICE CHAIR WALLIS: Well, that's a huge --

11 MR. KELLY: Yes.

12 VICE CHAIR WALLIS: And so if they are  
13 predicting that all the steam gets condensed using  
14 this, it may be true that only 20 percent of it gets  
15 condensed. That's a huge effect in something like a  
16 PCCS.

17 MR. KELLY: But there I have the mass  
18 transfer to save me, because that's normally the  
19 limiting resistance there, not this. Typically, from  
20 what I have been able to ascertain, in pure steam  
21 condensation about three-quarters of the heat transfer  
22 resistance is wall to film. About one-quarter is film  
23 to interface. Okay? So that factor of 5 is on that  
24 one-quarter.

25 Then when you add in non-condensibles and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the mass transfer becomes the controlling resistance,  
2 that one-quarter becomes one-quarter of maybe 10  
3 percent. And that's why I'm not -- I don't like this.  
4 I want to do something better. I don't have a  
5 database to do anything better, but I'm not going to  
6 lose sleep over it, because we're talking about one-  
7 quarter of 10 percent and that's way off in the  
8 uncertainty bands.

9 VICE CHAIR WALLIS: So you haven't yet  
10 told us how you model the mass transfer resistance.

11 MR. KELLY: Well, let's go to the next  
12 slide. That's the next topic.

13 MR. FORD: Joe, would you mind just going  
14 back one slide just to satisfy me on something? On  
15 one of the earlier slides you waved your hand and said  
16 that ESBWR was in the order of 1,000 to 3,000 value of  
17 the Reynolds no.

18 MR. KELLY: Well, actually, it's more like  
19 100 to 1,000.

20 MR. FORD: So if they use the Berkeley  
21 data and the correlation, you would be happy?

22 MR. KELLY: Yes.

23 MR. FORD: You would pass it? Okay. Even  
24 though the TRACE Code uses --

25 MR. KELLY: As long as you demonstrate

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that. You do your system calculations. Okay? You  
2 back out from the system calculations what the  
3 conditions in the PCCS were when it was important.

4 MR. FORD: Okay.

5 MR. KELLY: Now, what were the gas mixture  
6 Reynolds nos., what were the non-condensable  
7 concentrations and what were the film Reynolds nos.?  
8 Then you compare that to this database.

9 MR. FORD: Okay.

10 MR. KELLY: And if this database  
11 encompasses it, you're home free.

12 MR. FORD: And so you really wouldn't use  
13 TRACE at all for this particular -- because as I  
14 understand it, TRACE is based on that dotted line. Is  
15 that correct?

16 MR. KELLY: No.

17 MR. FORD: Okay.

18 MR. KELLY: This is the laminar model that  
19 I put into TRACE.

20 MR. FORD: Oh.

21 MR. KELLY: And this is the turbulent, so  
22 that I cover the full spectrum.

23 MR. FORD: Okay. Okay.

24 MR. KELLY: Plus in TRACE all of this  
25 depends upon the calculated liquid film thickness and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that brings in wall drag and interfacial shear.

2 MR. FORD: Thank you.

3 MR. KELLY: And then we go to mass  
4 transfer, which is actually the controlling resistance  
5 most of the time for the non-condensable  
6 concentration, you know, if there is much non-  
7 condensable at all.

8 So the approach is to use a mechanistic  
9 model similar to the mass transfer conductance model,  
10 which was recommended in Kuhn's thesis. Now, he came  
11 up with an empirical correlation, but he said you can  
12 do a better job than the empirical correlation by  
13 going to a mass transfer conductance model, and so  
14 that's where I started.

15 VICE CHAIR WALLIS: Well, Bird, Stewart  
16 and Lightfoot has a whole couple of chapters on --

17 MR. KELLY: Right.

18 VICE CHAIR WALLIS: -- simultaneous heat  
19 and mass transfer and that sort of thing.

20 MR. KELLY: And that's, basically, what  
21 you're going to see here and an older version would be  
22 the Colburn-Haugen. It's the same kind of thing. So  
23 you have a heat flux from the liquid to the interface.  
24 The difference here is I'm not treating liquid to  
25 wall. I'm just going liquid to interface and saying

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that has to equal what's on the other side, the mass  
2 transfer part.

3 So on the gas mixture to interface, it has  
4 two components, condensation and sensible heat. I  
5 modeled the sensible heat contribution, but it's very  
6 small. Condensation heat flux is simply the  
7 condensation mass transfer times the latent heat, and  
8 what you have to do is set these two equal and that  
9 becomes an iterative process, because you have to find  
10 what the interface temperature is and that's really  
11 what the interface concentration of the non-  
12 condensible is.

13 Now, it turns out you can do that in about  
14 three to four iterations if you put together an  
15 intelligent scheme. Here's the condensation mass  
16 flux, very simply, gas mixture density. This is  
17 diffusivity, tube diameter. Beta is this rolling  
18 factor, Sherwood no. I have the ratio of 2 molecular  
19 weights, the molecular weight of the mixture at the  
20 interface and the molecular weight of the mixture in  
21 the bulk.

22 VICE CHAIR WALLIS: How do you know  $x_{v,i}$ ?

23 MR. KELLY: That's one of the things you  
24 have to solve for by --

25 VICE CHAIR WALLIS: You have to solve for?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. KELLY: Yes.

2 VICE CHAIR WALLIS: It seems to play a  
3 role in everything.

4 MR. KELLY: Yes.

5 VICE CHAIR WALLIS: So you have to  
6 iterate. You have to calculate and then go back and  
7 put it in all the equations again?

8 MR. KELLY: Right, this right here. It  
9 takes about three iterations to converge, sometimes  
10 four. This is to account for variable properties  
11 between the bulk and the interface and it's a property  
12 ratio scheme that I pulled out of Kays and Crawford.  
13 And then  $b$  is the mass transfer driving potential  
14 written in terms of the weight fractions.

15 VICE CHAIR WALLIS: This  $\beta$  is what you  
16 might call a polarization at the interface when you  
17 build up the non-condensibles at the interface, and  
18 the concentration at the interface can be 10 or 100  
19 times what it is in the main flow, because you're  
20 streaming it to the interface and it has to diffuse  
21 back again.

22 MR. KELLY: Yes, right. That's what all  
23 this is.

24 VICE CHAIR WALLIS: It all depends on --

25 MR. KELLY: Yes, it's just diffusion away

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 from the interface.

2 VICE CHAIR WALLIS: Diffusion controlled.

3 MR. KELLY: Yes. And so you see what I  
4 used for the Sherwood no., something that would be  
5 appropriate for single phase flow in it, too.

6 VICE CHAIR WALLIS: Well, to calculate  
7  $x_{v,i}$ , how do you calculate  $x_{v,i}$  again?

8 MR. KELLY: Well --

9 VICE CHAIR WALLIS: The  $x_{v,i}$  is a  
10 concentration at the interface.

11 MR. KELLY: That's correct.

12 VICE CHAIR WALLIS: Which can be very much  
13 more than it is in the main flow?

14 MR. KELLY: Yes. I go through, I  
15 evaluate.

16 VICE CHAIR WALLIS: How does this get to  
17  $x_{v,i}$ ?

18 MR. KELLY: I'm getting there. I  
19 calculate the interfacial heat transfer coefficient.  
20 Okay? I make an estimate of the interface  
21 temperature. This is held constant, because this  
22 isn't a function of it. So I take a guess for the  
23 interface temperature. I go through and evaluate  
24 these two contributions by the equations on the next  
25 slide, again, for that assumed interface temperature,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 which correlates to an interfacial concentration.  
2 Look at this.

3 VICE CHAIR WALLIS: Because of a partial  
4 pressure of --

5 MR. KELLY: Exactly, of the vapor,  
6 exactly. If this is less than I think it's 100<sup>th</sup> of  
7 1 percent difference, I'm converged. Otherwise, I  
8 adjust the guess for the interface temperature  
9 concentration until it converges.

10 Sensible heat, I'm not going to waste any  
11 time on. It's negligibly small. How well does it do?  
12 Well, this is what you saw before. This is against  
13 the air-steam data of Kuhn. It looks very good. This  
14 is data from 72 different tests.

15 VICE CHAIR WALLIS: This fog factor was  
16 what I was laughing about.

17 MR. KELLY: Right, it's a fog factor.

18 VICE CHAIR WALLIS: It's a fog factor of  
19 2?

20 MR. KELLY: That value was recommended, I  
21 think, in Kuhn's thesis.

22 VICE CHAIR WALLIS: Because he just  
23 correlated the data better and multiplied by 2?

24 MR. KELLY: You see other ones where it's  
25 a factor of 6, I mean, a value of 6. It doesn't make

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 any difference. It's times a very small number. But  
2 I agree, that is something good to laugh at. So there  
3 are 571 data points.

4 VICE CHAIR WALLIS: Well, it's the  
5 sensible. You don't need to worry about the sensible.

6 MR. KELLY: Right. The average error was  
7 7.7 percent. The RMS, 16.1, is actually better than  
8 the empirical model.

9 VICE CHAIR WALLIS: That you showed us  
10 before.

11 MR. KELLY: That came from this, right.  
12 And there's the helium, same thing.

13 VICE CHAIR WALLIS: So everything is done  
14 by the non-condensibles?

15 MR. KELLY: For this case unless you're at  
16 very high gas mixture Reynolds nos.

17 VICE CHAIR WALLIS: Is that true of ESBWR?

18 MR. KELLY: It depends on when.

19 VICE CHAIR WALLIS: Oh.

20 MR. KELLY: If there's a phase of a  
21 transient where the gas mixture Reynolds no. is very  
22 high, we're talking tens of thousands and the gas  
23 concentration is on the order of a percent or so, then  
24 the mass transfer is not the controlling resistance.  
25 But if you go 10, 20, 40 percent of non-condensable --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 VICE CHAIR WALLIS: Oh, then it's bound to  
2 be.

3 MR. KELLY: Right. So we're finished with  
4 all the theoretical stuff. How well does it work when  
5 you shove this model into TRACE? This is a test  
6 matrix that I did. Again, I worked with three  
7 different types of test, a laminar film, I used the  
8 Kuhn test for that, a turbulent film, the NASA test,  
9 and the non-condensable gas effect, I looked at the  
10 air-steam test of Kuhn again.

11 For the laminar film, I did a parametric.  
12 On pressure, from 1 to 5 bar. For the turbulent film,  
13 I just ran two tests and I ran those, because that's  
14 basically history. They were part of what RELAP5 was  
15 assessed against. For the air-steam, I did a  
16 parametric on non-condensable gas mass fraction from  
17 1 to 40 percent at the inlet.

18 So pure steam, laminar film, this is what  
19 we had before. I have got the calculated heat  
20 transfer coefficient versus the measured perfect  
21 agreement. Most of the TRACE calculation dramatically  
22 under-predicts and the prediction gets worse as you go  
23 to higher pressure.

24 VICE CHAIR WALLIS: That's what TRAC would  
25 do.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. KELLY: That's what it would do today  
2 without the PCCS Model. With the PCCS Model, you get  
3 this, a very good agreement where I over-predict.  
4 That's because those film Reynolds nos. were,  
5 basically, at the end of the tube and they were in the  
6 laminar-turbulent region and my turning on of the  
7 turbulent bumped it up too high.

8 CHAIRMAN RANSOM: Were these tests with  
9 TRACE just take a tube and put boundary conditions at  
10 the entrance and exit and --

11 MR. KELLY: And on the secondary side, I  
12 used the measured wall temperature as the boundary  
13 condition rather than trying to model the secondary,  
14 because that gives you then the uncertainty of the  
15 convective heat transfer on the secondary side. So I  
16 tried to make it so that what we were looking at is  
17 the model that we're assessing.

18 This is heat transfer coefficient versus  
19 distance, the old calculation. This is a test at 3  
20 atmospheres, data and TRACE, and this is the new  
21 calculation, which is almost better than is  
22 creditable. It also gives you a much more realistic  
23 calculation of the liquid film thickness. This was  
24 the old calculated value. This is the new calculated  
25 value. The red curve is what you get if you assume

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it's a pure falling film, no interfacial drag. So as  
2 I said earlier, the amount of interfacial drag is  
3 fairly modest in these tests.

4 Turbulent film. What I have shown is the  
5 data, the old calculation and the new calculation.  
6 This is for Run 172. The new under-predicts when a  
7 film is laminar. There is an inconsistency between  
8 the NASA data and the UCB-Kuhn data. This data is  
9 higher for the same kind of conditions, and I chose to  
10 go with the Kuhn data, because well, first off, I  
11 think the quality of the data is higher, but it also  
12 covers our range of applicability better.

13 VICE CHAIR WALLIS: And the NASA has a  
14 much higher velocity, so there's more likely to  
15 happen, entrainment and other things that may be not  
16 well-modeled by Kuhn.

17 MR. KELLY: Right. And then the same  
18 thing here. The one difference here is the old TRACE  
19 Model, it's in a more recent version of TRACE where  
20 the wall drag had been changed. And you'll notice the  
21 calculation got a lot worse, because it switched it  
22 between two different condensation models.

23 VICE CHAIR WALLIS: Then we should say  
24 that RELAP and TRAC would do as badly as that, these  
25 approved codes from the past, because this is where

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 TRACE came from.

2 MR. KELLY: From what I know when we  
3 looked at RELAP5 for the AP-600 and for the ESBWR,  
4 we're talking about 10 years ago, RELAP5 would do  
5 better than this.

6 VICE CHAIR WALLIS: Okay. So TRAC was  
7 bad.

8 MR. KELLY: Because RELAP5 was assessed  
9 against condensation data more recently, because we  
10 already went through some of this exercise with RELAP5  
11 and RELAP5 has several different models in it, at  
12 least two, for the non-condensable effect. One of  
13 those is the Vierow-Schrock correlation. So if you  
14 turn that option on, use with caution.

15 Non-condensable gas effect, I ran five  
16 different experiments going from a non-condensable  
17 mass fraction, from 1 percent to 40 percent at the  
18 inlet, and as far as I'm concerned that's excellent,  
19 excellent agreement.

20 VICE CHAIR WALLIS: You're modeling Kuhn.  
21 Well, all along the way you have had Bankoff and all  
22 that stuff. If you would go back and model all that,  
23 do you presume you don't do so well?

24 MR. KELLY: I'm sure I wouldn't. For one  
25 thing, the Bankoff is not governed by mass transfer.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 That is what I feel like I'm modeling most accurately  
2 here, is the mass transfer and that is why that looks  
3 so good.

4 VICE CHAIR WALLIS: So we're lucky that  
5 there are so many non-condensibles in the ESBWR?

6 MR. KELLY: If you want to impede  
7 condensation, that helps. So the summary is pretty  
8 simple. Develop the model. It's applicable to the  
9 conditions of the PCCS. It's within a two-fluid  
10 framework and I take advantage of the things that  
11 TRACE calculates like the liquid film thickness.

12 The accuracy is pretty much as good as the  
13 data. To make it better, we would have to go and do  
14 some more modern condensation tests, which maybe for  
15 something like reflux condensation in a steam  
16 generator tube we need to do at some point.

17 VICE CHAIR WALLIS: Well, PANTHERS was a  
18 full scale test of the ESBWR, PCCS.

19 MR. KELLY: Right.

20 VICE CHAIR WALLIS: Over the range of flow  
21 rates and non-condensable and all that expected.

22 MR. KELLY: And that's --

23 VICE CHAIR WALLIS: That's a real test?  
24 Do you have to know?

25 MR. KELLY: Yes, and next time you will

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have Bill Krotiuk up here.

2 VICE CHAIR WALLIS: Will I still be on the  
3 ACRS when you talk about that?

4 MR. KELLY: I hope so.

5 VICE CHAIR WALLIS: Well, I'm not sure.  
6 I mean, this is taking so long.

7 MR. KELLY: Well, the model is in the code  
8 now and Bill is starting to test it.

9 VICE CHAIR WALLIS: The real proof of the  
10 pudding in terms of applicability would seem to be  
11 what you haven't done yet, which is to apply it to  
12 PANTHERS.

13 MR. KELLY: That's true.

14 VICE CHAIR WALLIS: Is this going to be  
15 published in the open literature?

16 MR. KELLY: I would --

17 VICE CHAIR WALLIS: It seems the kind of  
18 thing that ought to be there.

19 MR. KELLY: Well, I am going to do the  
20 code documentation, although that's going to take a  
21 small lag in time. I should be doing it now, but I'm  
22 switching my effort to work on 50.46 now, so that's  
23 going to make this code documentation on this lag in  
24 time some. So for the moment, this presentation is  
25 the documentation, which isn't acceptable.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   Now, as far as turning this into a journal  
2 paper, it's not breaking any tremendous new ground.  
3 If you go and look at some of the more recent papers  
4 on condensation with non-condensibles, they use mass  
5 transfer conductance models similar to this and get  
6 similar kinds of results.

7                   VICE CHAIR WALLIS: Well, I think that's  
8 okay, but I was more concerned about the other part,  
9 the part where you were modeling the pure steam where  
10 you get all sorts of different results depending on  
11 how you look at the data and whose correlation. That  
12 seemed to me was very useful or would be very useful  
13 for the technical community to know about. And the  
14 fact that non-condensibles govern through your  
15 application is a kind of lucky thing in a way. You  
16 can throw away all this other stuff you don't know  
17 much about, because the heat transfer resistance is so  
18 small for those parts of the problem.

19                   MR. KELLY: Right.

20                   VICE CHAIR WALLIS: And just concentrate  
21 on the non-condensibles.

22                   MR. KELLY: Right. But of course, that  
23 gets us into trouble in things like large break LOCA  
24 for condensation in the cold leg or in the down-comer.

25                   VICE CHAIR WALLIS: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. KELLY: And that's exactly some of the  
2 things I have to look at for 50.46 right now for  
3 condensation-induced oscillations.

4 VICE CHAIR WALLIS: Well, condensation,  
5 when you're squirting in ECC water and do some weird  
6 geometry that has never been really tested, it cannot  
7 be assessed with any of these correlations very well.

8 MR. KELLY: Right.

9 VICE CHAIR WALLIS: Especially if you get  
10 oscillations in there.

11 MR. KELLY: Well, I'm talking about the  
12 code having oscillations that are much larger.

13 VICE CHAIR WALLIS: Oh, so physical  
14 oscillations.

15 MR. KELLY: Yes, there are physical ones.  
16 So one of the things we will be doing is the  
17 Northwestern University test will be added to the  
18 TRACE assessment matrix. I haven't done them yet, but  
19 they will be done. There is a bit of a trick to them,  
20 because they are a rectangular channel and we have  
21 pipes, but you can either modify the pipe to be  
22 rectangular or fudge it by having --

23 VICE CHAIR WALLIS: The thing with 50.46,  
24 50.46 would seem to be just picking a good pipe size.

25 MR. KELLY: Well, we have been tasked with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 making sure that TRACE can give realistic predictions  
2 for that to help give some guidance in that, and  
3 actually I'm just now becoming involved in that, so I  
4 can't answer those questions very intelligently.  
5 Either Joe Staudenmeier or Steve Bajorek would be able  
6 to do a much better job.

7 VICE CHAIR WALLIS: We're going to see you  
8 in that context.

9 CHAIRMAN RANSOM: Joe, I have one question  
10 on your model with regard to the Bankoff experiments.

11 MR. KELLY: Yes.

12 CHAIRMAN RANSOM: Some of those use super  
13 heated steam and in early simulations of that we found  
14 that if you didn't account for, you know, the heat  
15 transfer to bring the steam down to the saturation  
16 point at the interface or then, of course, the energy  
17 balance predicted the steam to heat up, which was  
18 unphysical.

19 And I'm wondering is your sensible heat  
20 term accounting for the heat transfer that's necessary  
21 to bring the super heated steam down to the saturation  
22 temperature at the interface and then allow mass  
23 transfer to take place by the model that you  
24 presented?

25 MR. KELLY: Okay. I haven't simulated

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 those tests in TRACE yet, so I don't know how it will  
2 work in TRACE. I only know how I did the data  
3 analysis. Now, my --

4 CHAIRMAN RANSOM: Haven't you had to  
5 modify the sensible or the --

6 MR. KELLY: Where I think you're going  
7 with this --

8 CHAIRMAN RANSOM: -- base change energy to  
9 account for the super heat in the steam?

10 MR. KELLY: Right. That's a point I  
11 glossed over. Where that really is is here.

12 CHAIRMAN RANSOM: Right.

13 MR. KELLY: Right. And as far as I know,  
14 the code does that right. It uses a donor value.

15 CHAIRMAN RANSOM: The code does? So it  
16 accounts for that more or less implicitly, you might  
17 say?

18 MR. KELLY: Right. Because if you don't,  
19 you get exactly that kind of behavior.

20 CHAIRMAN RANSOM: Right.

21 MR. KELLY: In sub-cool boiling, the  
22 liquid freezes.

23 CHAIRMAN RANSOM: Yes.

24 MR. MAHAFFY: This is John Mahaffy. Let  
25 me comment on that, Vic, since I know the guts of it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 What's done in TRACE is exactly what you were used to  
2 doing in RELAP5 in respect to the sensible heat.

3 CHAIRMAN RANSOM: I wasn't sure, because  
4 it seemed like he was proposing that the mass transfer  
5 would be simply based on the HFG.

6 MR. MAHAFFY: That's what shows on his  
7 view graph, but if you dig deeply into what the code  
8 is doing, in fact, it's exactly what you're used to  
9 seeing in RELAP.

10 MR. KELLY: Right. And I just didn't want  
11 to go off on that tangent. I finished the  
12 presentation on time. I would like that to be on the  
13 record.

14 VICE CHAIR WALLIS: Well, you did very  
15 well.

16 MR. SIEBER: Yes.

17 VICE CHAIR WALLIS: Let's go back to the  
18 discussion we had at the beginning with we have got  
19 three to five equivalent FTEs working on this problem.  
20 I mean, you have done a very substantial job here and  
21 it's impressive, but it obviously took a lot of work  
22 and this is just one sub-problem associated with  
23 TRACE.

24 MR. KELLY: Yes.

25 VICE CHAIR WALLIS: Now, there is a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 problem with reflood, which is more complicated than  
2 this problem.

3 MR. KELLY: Yes.

4 VICE CHAIR WALLIS: And that is going to  
5 take somebody a year or two to sort out, it seems to  
6 me. There are probably other problems associated with  
7 the constituents of TRACE, ECC injection or down-  
8 comers or something are things where you don't have  
9 very good models.

10 MR. KELLY: In the last year, I told you  
11 that I did this development work basically a year ago.

12 VICE CHAIR WALLIS: Yes.

13 MR. KELLY: But it was only recently we  
14 put it in.

15 VICE CHAIR WALLIS: Right.

16 MR. KELLY: But in that last year, some of  
17 the other things that we have done, we have modified  
18 the two phase wall drag to get rid of this. We  
19 modified interfacial drag, both for rod bundles and  
20 for tubes, and this is all something I can show you  
21 next time. I just didn't have time to prepare it for  
22 this meeting.

23 VICE CHAIR WALLIS: That's too bad. We  
24 would have been happy to be here for two or three days  
25 to hear it all.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. KELLY: No, but then that would be two  
2 or three more weeks of my time.

3 VICE CHAIR WALLIS: Well, probably good  
4 for you to pull it together.

5 MR. KELLY: Right, and we will. And so  
6 Joe will at least mention those when he gives his  
7 presentation, and we're just going to knock off those  
8 things one by one. And I will be going to 50.46 now.  
9 I will be looking at reflod heat transfer. I will be  
10 looking at steam binding caused by heat transfer in  
11 the steam generators. I will be looking at blowdown  
12 heat transfer and condensation in the cold leg and the  
13 down-comer and, hopefully, won't have to do this kind  
14 of work on most of them. I have Wei Dong Wang helping  
15 me.

16 VICE CHAIR WALLIS: You're using this for  
17 the problem of the -- well, now, how does it come  
18 about whether you simply have a core heating up and  
19 the steam generator is uncooled and you have natural  
20 convection between them with pure steam, and the  
21 question is does the steam generator or the hot leg or  
22 something else pop first? Are you doing that problem?

23 MR. KELLY: No, that's off in severe  
24 accident space and I'm not worried about that yet.

25 VICE CHAIR WALLIS: How about the sub-cool

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 boiling stuff that Vijay Dir is doing, has been doing  
2 for sometime, is that being incorporated into TRACE?

3 MR. KELLY: It has not yet. It's on my  
4 to-do list.

5 VICE CHAIR WALLIS: So what I'm saying is  
6 that you gave us a good presentation, obviously a  
7 great deal of work. I think there's a whole lot of  
8 other sub-problems like this, which need similar  
9 amounts of work.

10 MR. KELLY: Yes.

11 VICE CHAIR WALLIS: And I'm concerned  
12 about it all getting done in a finite time before you  
13 retire or whatever.

14 MR. KELLY: Yes. Well, that's 10 to 15  
15 years.

16 VICE CHAIR WALLIS: That's why I say, a  
17 message for your management and if you keep working  
18 all these sub-problems with the intensity that you  
19 have worked this one, which is probably very  
20 appropriate, it's going to take an awful long time  
21 before they are all done, and we may be permanently  
22 frustrated with TRACE sort of not really being  
23 complete yet.

24 MR. KELLY: But what you should see is  
25 over time a trend for the code to get better, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that's what we're aiming to do.

2 VICE CHAIR WALLIS: Yes, well, this is  
3 also true of a baby.

4 MR. KELLY: That's true.

5 VICE CHAIR WALLIS: But it's a long time  
6 before it goes to college and graduates and stands on  
7 its own two feet and earns a salary.

8 MR. KELLY: And as I just recently  
9 learned, and then they can still come back and live  
10 with you.

11 VICE CHAIR WALLIS: Okay. Well, you're  
12 doing a good job here.

13 MR. KELLY: Well, thank you.

14 VICE CHAIR WALLIS: I just hope the  
15 management understands how much of this sort of thing  
16 needs to be done.

17 MR. KELLY: And it's my experience that if  
18 you don't do it, maybe you don't have to do it in  
19 quite this step. Everything doesn't have to be a Ph.D  
20 defense, but if you don't do it in something similar  
21 to this, you miss things like that. And you put a  
22 model in the code and then you wonder why it doesn't  
23 work, but it works fine for awhile and then someone  
24 tries it with something just slightly different and it  
25 falls apart.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   VICE CHAIR WALLIS: And you have had the  
2 time to do it, and one problem is that the NRC will  
3 contract a university to do a job like fix up the  
4 condensation heat transfer codes. And they give them  
5 a contract and the university says oh, one graduate  
6 student can do that in two or three years and they get  
7 a contract, and then there is pressure to get the job  
8 done and, obviously, sometimes there isn't time to go  
9 into all this stuff that you have been doing. So  
10 something comes up, which is half-baked and it becomes  
11 a NUREG or something and it's accepted.

12                   MR. KELLY: That's true.

13                   VICE CHAIR WALLIS: And you have been  
14 lucky enough, you can stick with this.

15                   MR. KELLY: I have been very lucky to have  
16 the support of my management over the last couple of  
17 years to do this kind of work, and what I'm trying to  
18 do is bring some of the younger staff along as  
19 proteges and have them try to think some of the same  
20 things, as well as they learn the code by they do some  
21 of the installation and testing for me. I have both  
22 Wei Dong Wang and, in the future, Shawn Marshall will  
23 be doing the steam generator heat transfer film.

24                   CHAIRMAN RANSOM: Well, thank you very  
25 much, Joe. It was a good presentation and, like

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Graham has said, there are quite a few areas that need  
2 this kind of treatment. But why don't we take a break  
3 until after a quarter past and Joe maybe will tell us  
4 a little bit more of the status of some of the other  
5 areas.

6 MR. KELLY: Okay.

7 (Whereupon, at 11:00 a.m. a recess until  
8 11:16 a.m.)

9 CHAIRMAN RANSOM: We're back on the record  
10 and now the plan is to hear from Joe Staudenmeier  
11 about some of the future plans for code development on  
12 TRACE.

13 MR. STAUDENMEIER: Okay. Can you pick  
14 that up? Can you hear?

15 COURT REPORTER: Yes.

16 MR. STAUDENMEIER: Is it better?

17 COURT REPORTER: It's better if you're  
18 closer to the mike.

19 MR. STAUDENMEIER: Thank you. Yes, I have  
20 it on. Maybe I don't know --

21 UNIDENTIFIED SPEAKER: Put the switch on.

22 UNIDENTIFIED SPEAKER: Put it on your tie.

23 MR. STAUDENMEIER: No, the power is off.  
24 That's why. Okay. Is that better?

25 MR. SIEBER: Oh, yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. STAUDENMEIER: Okay. Okay. I want to  
2 give an overview of our recent work, I guess, since  
3 the last meeting in our systems code development and  
4 our future plans with our codes.

5 Our four codes we have development going  
6 on right now are RELAP5, PARCS, SNAP and TRACE.  
7 RELAP5, it's at a low status in terms of development.  
8 We maintain it, fix bugs. It's still used quite a bit  
9 at the NRC. It has been used recently for PTS and  
10 boron dilution. It has been used to do some  
11 preliminary calculations in ACR-700 and also, it's  
12 going to be used in some risk informing ECCS  
13 calculations for break size redefinition. NRR is  
14 planning on using it.

15 VICE CHAIR WALLIS: I thought TRACE was  
16 going to replace RELAP5.

17 MR. STAUDENMEIER: It is.

18 VICE CHAIR WALLIS: You have already given  
19 up the old TRACs and the various TRAC-P and TRAC-M and  
20 all that is gone.

21 MR. STAUDENMEIER: I mean, they still  
22 exist, but nobody uses them. TRACE does every --  
23 anything that anybody would have done with those  
24 codes, a person would use TRACE now to do that.

25 VICE CHAIR WALLIS: Okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RANSOM: Is this effort on RELAP5  
2 still one man at ISL that you're supporting?

3 MR. STAUDENMEIER: Yes, it's one man at  
4 ISL. I mean, if camp members submit code changes or  
5 fixes, we consider them, putting them into the code.

6 VICE CHAIR WALLIS: What's the name of the  
7 person at ISL?

8 MR. STAUDENMEIER: Glen Mortensen.  
9 There's actually a couple of people that contribute.  
10 I mean, it's a little bit beyond Glen, and sometimes  
11 Doug Barber and Rex Shumway also make some  
12 contributions.

13 VICE CHAIR WALLIS: Is Shumway still  
14 involved?

15 MR. STAUDENMEIER: He is involved in TRACE  
16 and RELAP until the end of the month. He is retiring  
17 at the end of this month. Okay. PARCS, some recent  
18 stuff we have worked on for PARCS is eliminate the  
19 need for PVM in coupling the TRACE and there is also  
20 a camp member --

21 VICE CHAIR WALLIS: What is PVM?

22 MR. STAUDENMEIER: PVM is some software  
23 that lets the two codes run and talk to each other  
24 without being directly linked together, so it's a  
25 software technology. Eliminating PVM makes it easier

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in terms of things the user has to worry about in  
2 terms of installation and it will also make things  
3 easier in the future in doing some more implicit  
4 coupling between TRACE and PARCS.

5 VICE CHAIR WALLIS: Now, you just couple  
6 them directly, do you?

7 MR. STAUDENMEIER: Right. It will be like  
8 a direct sub-routine call instead of this socket-based  
9 communications interface. And RELAP5, there is also  
10 a camp country that has done the same for RELAP5 and  
11 they are going to contribute removal of PVM for the  
12 RELAP5/PARCS coupling also.

13 CHAIRMAN RANSOM: That's with PARCS and  
14 RELAP5 coupled?

15 MR. STAUDENMEIER: Right. And currently,  
16 with PARCS we're looking at developing a BWR Stability  
17 Methodology and we have been assessing and running  
18 tests against some Ringhals data, some Ringhals  
19 stability data. Tom Downar will show you a little bit  
20 more of that in his presentation later on. We have  
21 updated the documentation and we're going to be  
22 developing a VEDA runtime interface for PARCS, so that  
23 it can be available on all platforms.

24 Right now, the graphical interface for  
25 PARCS only works on Windows. VEDA is part of SNAP.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 It's the visualization and post-processing part of  
2 SNAP. It replaces what used to be the NPA and we'll  
3 be developing an interface in that to control the code  
4 at runtime and give a common interface on any platform  
5 you want to run on.

6 SNAP, the main development activity with  
7 respect to TRACE and SNAP is improving the ease of use  
8 and functionality. We have, essentially, all the  
9 functionality or the completeness of things in terms  
10 of TRACE and SNAP, and we're working out bugs and  
11 improving functionality and next we'll be layering  
12 these engineering templates on top of SNAP sometime in  
13 the future. And also, we have integrated VEDA into  
14 the Model Editor. You will get to see a little more  
15 of what that is later.

16 VICE CHAIR WALLIS: How important is SNAP  
17 to TRACE? Can you run TRACE perfectly well without  
18 SNAP?

19 MR. STAUDENMEIER: Yes, TRACE can be run  
20 independently of SNAP. What SNAP gives you is model  
21 preparation and editing and makes that easier and  
22 makes post-processing easier. But yes, TRACE is  
23 perfectly functional without SNAP.

24 The vision in the future is that SNAP was  
25 going to be the input processor for TRACE and sometime

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in the future, the part of TRACE that reads ascii  
2 input decks and starts up calculations, that would be  
3 moved out of TRACE and it would just be a  
4 calculational engine and SNAP would dump this new sort  
5 of file format that TRACE would pick up, so it would  
6 be more difficult to use in the future or our ultimate  
7 vision of using TRACE and SNAP together.

8 CHAIRMAN RANSOM: Does SNAP also do the  
9 plotting of the output data?

10 MR. STAUDENMEIER: SNAP will plot the  
11 output data, yes. There's a tool called XMGR that  
12 does the line plots and there's VEDA, which is the  
13 NPA-like replacement that's in SNAP for visualization  
14 of the whole model and animation of a model.

15 CHAIRMAN RANSOM: Who's doing the SNAP  
16 work?

17 MR. STAUDENMEIER: Ken Jones.

18 CHAIRMAN RANSOM: He's an independent  
19 contractor. Is that right?

20 MR. STAUDENMEIER: He's an independent  
21 contractor. He has his own company. At one time, he  
22 used to work for Scientech and before that, he used to  
23 work for INEL. He did work on NPA back at INEL.

24 CHAIRMAN RANSOM: Right.

25 MR. STAUDENMEIER: And also RELAP

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 calculations. He was the one that developed XMGR  
2 capability to read RELAP5 graphics files, and so he  
3 has worked on NRC projects for a long time.

4 CHAIRMAN RANSOM: What is that effort,  
5 like one FTE pretty much continuously?

6 MR. STAUDENMEIER: He has two people that  
7 work for him not full-time on TRACE. The funding for  
8 the year is a little bit more than one FTE, but it's  
9 not all TRACE. I mean, now we have built contain  
10 plug-ins. We're building MELCOR plug-ins. There is  
11 a RELAP5 plug-in that has to be maintained, FRAPTRAN  
12 and FRAPCOM, there has been a plug-in developed for  
13 that. So the TRACE part, since the TRACE plug-in has  
14 been finished, the level on that is a lot less than an  
15 FTE. Chester Gingrich could answer those questions a  
16 little bit better when he gives his SNAP presentation.

17 Yes, what I meant about VEDA being  
18 integrated into SNAP, you can now take your input  
19 model. Here this is an input model constructed with  
20 SNAP and there is an automated way to flip that over  
21 into an NPA mass that you can automate or animate with  
22 very little effort by the user.

23 The user tells it what variable he wants  
24 to animate it with and give it a color range, so the  
25 user no longer has to construct NPA mass like they did

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 before. You can still construct your own custom  
2 working mass, but it has taken a lot of work out of  
3 the hands of the user, so it does a lot of the work  
4 for you.

5 CHAIRMAN RANSOM: Will SNAP now convert a  
6 RELAP5 deck to a TRACE deck?

7 MR. STAUDENMEIER: Simple decks it does  
8 convert. I mean, we're up in a level of complexity of  
9 typical PWR, so small plant models. The big missing  
10 thing right now in conversion is control systems and  
11 signal variables. And we haven't done a lot of work  
12 on that lately.

13 The people that were working on that, they  
14 got shut off and were moved over to assessment, 50.46  
15 related assessment, and we have a low level of effort  
16 going on on continuing the conversion process at ISL.  
17 I expect that maybe sometime around the end of the  
18 year, we'll be able to convert most models.

19 CHAIRMAN RANSOM: Does TRACE have full  
20 control system and trip simulation capability?

21 MR. STAUDENMEIER: Yes, TRACE has full  
22 control system and trip, so it's just a matter of  
23 mapping or, I mean, there are some things that don't  
24 mesh up exactly and, in those cases, you have the  
25 choice of either trying to do a translation into the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 existing things or add functionality in TRACE to make  
2 it directly aligned and depending on the feature, both  
3 approaches have been taken.

4 Okay, TRACE. Currently, our development  
5 and assessment is driven by these following things.  
6 ESBWR is a big application project that is coming up.  
7 You saw Joe Kelly's presentation. Most of that work  
8 was done in response to needs for ESBWR. We're  
9 supposed to deliver a code for ESBWR by June, which is  
10 timed with the GE application for the ESBWR and right  
11 now, in terms of that, his condensation model has been  
12 implemented. It's starting to undergo testing now.

13 ACR-700. There's a fair amount of effort  
14 now adding things into TRACE to form the foundation  
15 for ACR-700 calculations. There has already been  
16 preliminary calculations done with the existing TRACE  
17 and it gets reasonable results of the plan and the  
18 test facility, the only test facility data that we  
19 have, which is one test on an integral test facility.

20 MR. SIEBER: Since Dominion and AECL have  
21 loosened their intentions, does that affect the work  
22 on ACR-700?

23 MR. STAUDENMEIER: It hasn't yet, but it  
24 probably will. I anticipate it will. We haven't  
25 received direction to shut down the work yet or that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the preapplication phase is ending or been re-  
2 prioritized, but I expect that that may happen  
3 sometime in the future. So until that happens, we  
4 have --

5 MR. SIEBER: It's ongoing.

6 MR. STAUDENMEIER: Yes, we have dates,  
7 target dates that we're trying to hit with the ACR-700  
8 functionality and we'll move ahead on that until they  
9 tell us to stop.

10 MR. SIEBER: Yes, sort of like the bunny  
11 with the cymbals.

12 MR. STAUDENMEIER: Yes.

13 MR. SIEBER: Keep on going until your  
14 battery runs out.

15 MR. FORD: You mentioned that the TRACE  
16 development for the ESBWR, I think, you said was going  
17 to be done by June. What is the completion date for  
18 the ACR-700? As I understand it, there are some  
19 significant technical problems to be overcome with  
20 that different geometry reactor?

21 MR. STAUDENMEIER: Yes, there are a lot of  
22 problems with ACR-700. I mean, our first target for  
23 TRACE is to implement our base ACR functionality,  
24 which can handle the geometry of the ACR-700 reactor,  
25 which is horizontal rod bundles and it will allow

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 looking at stratified flow in a rod bundle and  
2 allowing some rod bundles, rods, to be uncovered and  
3 some to be covered and calculating radiation between  
4 various rods and that geometry and the way the water  
5 level is and other things, the header tank with all  
6 the pipes coming off, implementing a more general  
7 capability that will allow better offtake models to be  
8 implemented in a header tank, basically what the void  
9 fraction offtake pipe is seeing based upon the level  
10 in that tank.

11 But that's just scratching the surface of  
12 what you do. That puts in the infrastructure in the  
13 code to support other things like you would need two  
14 phase flow models for horizontal rod bundles. We  
15 don't have that in the code right now, so someone has  
16 to find the data to support development of a model or  
17 models in the literature to stick in the code to work  
18 with the infrastructure.

19 MR. SIEBER: Is there data for horizontal  
20 flow?

21 MR. STAUDENMEIER: There is some data. I  
22 don't know how good it is or extensive it is. Joe  
23 Kelly, he has gone already, but he has looked at some  
24 of the literature that has been made available by AECL  
25 and is in the process of reviewing it to see what

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 would be needed or if there's more data out there or  
2 if more experiments would have to be run.

3 MR. FORD: Now, the idea is that,  
4 obviously, AECL have got their own thermal-hydraulics  
5 code they qualified against other data of their own.  
6 Are you going to have the same problem of not having  
7 enough data to qualify TRACE?

8 MR. STAUDENMEIER: Right now, there is a  
9 large lack of data to qualify a code for ACR-700 from  
10 what we have seen. As I said, there is only one  
11 integral test that has been made available to us by  
12 AECL. They are supposedly running some more integral  
13 tests right now, but I'm not in charge of reviewing  
14 the data and seeing how extensive it is or if it's  
15 adequate for developing models and assessing the code.

16 MR. FORD: It sounds like it could be the  
17 achilles heel of this whole development.

18 MR. STAUDENMEIER: It could be. The  
19 timing, getting adequate data is certainly a concern  
20 of not only the basic data to put in basic two phase  
21 flow models, but integral data to do assessment, I  
22 guess.

23 MR. BAJOREK: Joe, this is Steve Bajorek  
24 from research. One of the projects that we have  
25 ongoing and just getting the basic mechanisms into

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 TRACE is a review of AECL's experimental facilities.  
2 As part of that they would be making available to us  
3 their experimental data from the Quip Facility where  
4 they have run and developed their own models for  
5 horizontal flow in rod bundles.

6 One of the things that we would be doing  
7 is obtaining that data, data from the other integral  
8 facility that they have run, the RD-14, developing our  
9 own horizontal flow pattern maps from those.

10 MR. FORD: Thank you.

11 MR. STAUDENMEIER: Yes, the one other  
12 achilles heel with ACR-700 is by AECL's own  
13 calculations, the design can't meet 50.46 requirements  
14 as it currently stands without changing the rule or an  
15 exemption to the rule. So if there's LOCAs that where  
16 you, essentially, melt the fuel bundle, so it's an  
17 isolated chance. Well, we don't know how isolated it  
18 is, but it will, essentially, melt and it gets fuel  
19 damage in at least one of the channels of some LOCAs.

20 VICE CHAIR WALLIS: Isn't there also a  
21 question about positive volume coefficient or  
22 something like that?

23 MR. STAUDENMEIER: That's another  
24 question. Yes, there's lots of questions with ACR-  
25 700.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RANSOM: Joe, is the PUMA data  
2 being used to verify TRACE for ESBWR?

3 MR. STAUDENMEIER: Yes, the PUMA data is  
4 one of the data sets that's going to be used for  
5 assessment for ESBWR. Also, we'll use the GE PANTHERS  
6 data. That won't be an open publication. That will  
7 be a proprietary publication, maybe some of the other  
8 GE data. Essentially, it won't be ready at the time  
9 of code delivery, but by the end of the project there  
10 will be a report that will be called something like  
11 applicability of TRACE to ESBWR accident calculations  
12 or something like that that will form the basis of why  
13 TRACE is good for doing ESBWR analysis.

14 PWR LOCA break size redefinition. We have  
15 recently started up, essentially, a crash effort to  
16 get ourselves into that process to help provide  
17 feedback to the Commission in the rule making for  
18 break size redefinition. We're going to be using  
19 TRACE and the first calculations are going to be with  
20 a 4-Loop Westinghouse 34111 megawatt design operated  
21 in power to the current level.

22 And the first calculations will be small,  
23 the intermediate break LOCA type of calculations, so  
24 it will be from the limiting small break up until the  
25 transition break size and looking at what are the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 benefits and consequences of where you define your  
2 transition break size, which is --

3 VICE CHAIR WALLIS: These are all  
4 realistic calculations?

5 MR. STAUDENMEIER: Ours will be realistic  
6 calculations to the extent possible.

7 VICE CHAIR WALLIS: You're going to put in  
8 the uncertainty then, are you?

9 MR. STAUDENMEIER: I don't know how we'll  
10 deal with uncertainty right now. Right now we're  
11 going to be running base level calculations, and we  
12 may have some uncertainty multipliers based on break  
13 size, critical flow models like discharge coefficients  
14 or things like that. But in terms of overall  
15 uncertainty, I don't know the strategy for dealing  
16 with that.

17 VICE CHAIR WALLIS: You don't have the  
18 capability that some of the industrial people have to  
19 just feed in the uncertainties and run 57 or 59 or  
20 whatever the number is?

21 MR. STAUDENMEIER: No, we don't.  
22 Actually, there are some things built into TRACE to  
23 put multipliers on heat transfer and drag coefficients  
24 and they could be used. I think we may need some more  
25 extensive support than that. And actually, SNAP can

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 be set up to spawn off a bunch of calculations.

2 You can define parameters in SNAP and tell  
3 it to do 10 or 20 calculations with this parameter  
4 ranged from here to here, and so SNAP and TRACE could  
5 be run in that sort of mode with the limited  
6 capability that's built in to modify things like heat  
7 transfer coefficients or wall drag or interfacial drag  
8 right now. Whether it's the full functionality you  
9 need, that's yet to be seen.

10 VICE CHAIR WALLIS: I mean, really, Joe  
11 Kelly ought to be producing not just a correlation,  
12 but he ought to have sort of a statistical  
13 distribution for the coefficient in the correlation,  
14 so that it can go right into an uncertainty analysis.

15 MR. STAUDENMEIER: Yes, that actually  
16 would be the harder part of the uncertainty analysis.  
17 It's relatively straightforward to build in these  
18 multipliers on heat transfer or drag correlations, but  
19 to actually go through and compare the correlations  
20 you have to have data and come up with an uncertainty  
21 range, that's an awful lot of work to do that.

22 VICE CHAIR WALLIS: But that is what's  
23 required.

24 MR. STAUDENMEIER: That is what's  
25 required.

1                   VICE CHAIR WALLIS: The law, you know, the  
2 Part 50.46, they are going to use realistic  
3 calculations. You have got to model the uncertainty.  
4 It's required.

5                   MR. SIEBER: You have to.

6                   VICE CHAIR WALLIS: What about the reflood  
7 work? We heard about that several times in the past.  
8 It seemed to be an important part of TRACE development  
9 and it would seem to be very important to make use of  
10 all those results that Larry Hochreiter produced  
11 before his project stopped.

12                  MR. STAUDENMEIER: Yes.

13                  VICE CHAIR WALLIS: Is that happening or  
14 not happening at all?

15                  MR. STAUDENMEIER: Well, we're doing some  
16 assessment against the reflood tests. In terms of  
17 using the detailed data to develop a new model, that's  
18 planned. It hasn't been scheduled yet. Originally,  
19 we had planned on Joe Kelly starting to look at that  
20 later in the year and starting to develop a new model  
21 that would take advantage of the droplet field that's  
22 going into TRACE, but with the change in priority to  
23 50.46 in supporting the current calculations and,  
24 essentially, debugging and assessing current models in  
25 the code, that probably won't start this year I don't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 think. It will probably be pushed off until at least  
2 next year.

3 VICE CHAIR WALLIS: Because one of the  
4 things that has concerned us all along is that this  
5 fellow is doing very detailed tests and it's hoped  
6 that sometime in the future someone will manage to use  
7 that data and put it into TRACE, because really the  
8 tests would be much more effective if they were  
9 coordinated with this effort to put things into TRACE,  
10 so that as this stuff got put into TRACE the analysts  
11 could come back and say well, you know, there's a big  
12 gap in the data over this range or there is something  
13 weird here and you need to investigate it some more.  
14 Otherwise, you're just going to cut off the data  
15 stream and the analysts are going to have much more  
16 difficulty in making sense of it.

17 MR. STAUDENMEIER: Yes. Ideally, that's  
18 what you would want to do and that's what Joe had  
19 planned to do. He wanted to start developing the  
20 model before all the tests were still running, but  
21 that probably won't happen now based on our current  
22 priorities, so I don't know how to solve that problem,  
23 but it is a possible problem.

24 MR. MAHAFFY: Joe, John Mahaffy. One  
25 thing I don't know if you're aware of, remember that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Joe Kelly was working at two levels. There is this  
2 thing he has called the interim reflood model, which  
3 is an improvement over the base reflood model and that  
4 went into an official code version just a couple of  
5 weeks ago.

6 VICE CHAIR WALLIS: That is in there.

7 MR. MAHAFFY: That is in there and you can  
8 bet that information from the RBHT experiments that  
9 Larry Hochreiter fed into his judgment of his interim  
10 reflood model. Okay. Now, when they talk about  
11 advanced reflood modeling though, you know, Joe  
12 Staudenmeier is right. They are sitting around. You  
13 know, even if the LOCA size stuff hadn't happened,  
14 they are waiting for me to finish the droplet field to  
15 give them the capability to extend the power of the  
16 reflood modeling.

17 MR. STAUDENMEIER: Okay. And we're also  
18 working on an NRR user need based on --

19 VICE CHAIR WALLIS: Doesn't this LOCA  
20 break size redefinition need a reflood model?

21 MR. STAUDENMEIER: It will for the  
22 eventual power uprate calculations we're going to be  
23 looking at based on breaks above the transition break  
24 size. For the breaks below the transition break size  
25 you really don't get into large break LOCA reflood

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 type of situations. For the very small breaks it's,  
2 essentially, a water level moving up and down. So  
3 it's not into classical core heat-up and reflood.

4 VICE CHAIR WALLIS: If you start talking  
5 about what level of mitigation you would want for a  
6 large break LOCA, assuming you want some, then you  
7 need to have a good reflood model.

8 MR. STAUDENMEIER: Right, and that's the  
9 type of calculations we'll be getting into next year.  
10 I mean, what he's going to be looking at is making  
11 sure the interim reflood model works good enough for  
12 those type of calculations that we're doing or at  
13 least it's fully debugged and we understand what the  
14 performance of that model is and where its  
15 shortcomings are.

16 It has just been implemented into the code  
17 and we have been doing some assessments with it in  
18 preliminary versions where it was stuck in in  
19 preliminary versions and identified a couple of things  
20 that aren't working quite right that he will have to  
21 look at in addition to some other problems. So  
22 that's, essentially, what his time is going to be  
23 spent on for at least the next six months, is making  
24 sure all the models in the code are working well for  
25 PWR LOCA calculations.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1                   For ESBWR development, a decision was made  
2                   to use coupled TRACE/CONTAIN for the NRC analyses.  
3                   Joe Kelly had gone through and developed condensation  
4                   models appropriate for TRACE for the containment, but  
5                   it was looked at the effort and time that it would  
6                   take to put that in compared with all the other things  
7                   we're working on, and a decision was made that  
8                   TRACE/CONTAIN coupled calculations will be used with  
9                   CONTAIN handling most of the containment, except for  
10                  the PCCS tubes and Joe's Kelly's new film condensation  
11                  model would handle the PCCS tube modeling.

12                  CHAIRMAN RANSOM: How would that work,  
13                  because if you use TRACE to model the vessel and  
14                  associated drain tanks -- well, I don't know.

15                  MR. STAUDENMEIER: Yes, the drain tanks  
16                  will be in TRACE.

17                  CHAIRMAN RANSOM: Are the drain tanks part  
18                  of the containment or are they part of the TRACE  
19                  Model?

20                  MR. STAUDENMEIER: Well, we'll have to  
21                  examine where the boundaries are actually right now  
22                  and we're looking at that, but --

23                  CHAIRMAN RANSOM: Why would you even use  
24                  CONTAIN? I don't know that I understand that.

25                  MR. STAUDENMEIER: Well, I don't know if

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Bill Krotiuk wants to speak about that.

2 MR. KROTIUK: It's Bill Krotiuk. I have  
3 been working on the models for using TRACE/CONTAIN  
4 and, basically, the boundaries were at interfacing  
5 between containment functions and primary system  
6 functions.

7 For instance, I originally had the PCCS  
8 heat exchanger in CONTAIN, because there is a model  
9 there that could handle that, but we believe that  
10 Joe's approach would be better and there's other  
11 reasons why we want to go to that. At the GDCS tanks,  
12 actually it's partially in CONTAIN. The tank itself  
13 is in CONTAIN, but the piping is in TRACE, so there's  
14 tradeoffs in that.

15 CHAIRMAN RANSOM: Well, how do you couple  
16 those two together? Is this the PVM type coupling  
17 tube or --

18 MR. KROTIUK: It's a coupling similar to--  
19 not the PVM. What do we call it?

20 MR. STAUDENMEIER: ECI.

21 MR. KROTIUK: ECI.

22 MR. STAUDENMEIER: External Communications  
23 Interface.

24 MR. KROTIUK: Right. So basically, the  
25 coupling is such that at the coupling between CONTAIN

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and TRACE, you have, basically, a pressure boundary,  
2 a temperature boundary, a flow boundary, mass of  
3 liquid, mass of vapor, mass of non-condensable. So  
4 all that then is carried across the boundary.

5 CHAIRMAN RANSOM: I don't know. It  
6 surprises me, because there are a lot of phenomena  
7 that go in the suppression pool and things like that  
8 that I would think that CONTAIN or, I mean, TRACE  
9 might be better suited to model than CONTAIN.

10 MR. SIEBER: Might be.

11 MR. KROTIUK: Well, the suppression pool  
12 and the event flow and all that from the suppression  
13 pool is being modeled within CONTAIN. The CONTAIN  
14 Model has historically, you know, goes back to  
15 contempt LT and all that and so that same approach is  
16 basically being handled that way.

17 CHAIRMAN RANSOM: Thank you.

18 MR. KROTIUK: Okay.

19 MR. STAUDENMEIER: Yes, because, I mean,  
20 part of the reasoning in the decision was  
21 implementation time for the other things and ability  
22 to be consistent with NRR's review schedule, because  
23 they essentially want the whole review to be completed  
24 within a year and a half of the application coming in  
25 for review. Whether that can be done or not is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 another question, but we can't plan on it taking  
2 longer than that. So we're going with something that  
3 we think will meet the review schedule.

4 So part of that, as I said, the other  
5 condensation, there is a whole document of  
6 condensation models that Joe Kelly put together that  
7 could have been implemented in TRACE. That work is on  
8 hold and will be moved out until long-term possibly if  
9 it is needed for something else. And also, we are  
10 looking at changing the energy equation on enthalpy  
11 formulation. That's on hold, because we don't need to  
12 pressurize the containment that's fully within TRACE.  
13 It transfers the right information at the boundary to  
14 CONTAIN, so we don't need --

15 CHAIRMAN RANSOM: Enthalpy formulation in  
16 TRACE or in CONTAIN?

17 MR. STAUDENMEIER: TRACE doesn't have an  
18 enthalpy formulation for the energy equation. It has  
19 internal energy, so there is errors where you go  
20 across volumes with big differences in pressure. But  
21 what happens in the TRACE/CONTAIN coupling is those  
22 things are calculated right at the TRACE boundary and  
23 transferred to CONTAIN right, so you don't have to get  
24 into that error when we are using the TRACE/CONTAIN  
25 coupled calculations.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   VICE CHAIR WALLIS:  When you say TRACE  
2 will handle two condensation phenomena, this is in the  
3 PCCS system?

4                   MR. STAUDENMEIER:  PCCS and ICS.

5                   VICE CHAIR WALLIS:  ICS is Joe's work at  
6 ICS?

7                   MR. STAUDENMEIER:  Yes, Joe's work for the  
8 ICS also, so that's the high pressure heat removal  
9 system.  ACR-700 development, the main piece of  
10 development for that is CANDU channel component for  
11 TRACE.  What that has is it tracks water level in the  
12 horizontal channel.  It decides which rods are above  
13 or below the water level and calculates radiation heat  
14 transfer appropriately between the rods and the can on  
15 the outside of the channel.  There is also radiation  
16 heat transfer between the -- there is a pressure tube  
17 boundary and then a calandria boundary with some gas  
18 going in between there.

19                   And eventually, we may also need to look  
20 at ballooning of the pressure tube boundary and  
21 contact with the calandria tube boundary and how that  
22 changes heat transfer and even rupture of the pressure  
23 tube boundary.  But, as I said, it's in question now  
24 of whether that development work is going to continue  
25 on.  Also, the header tank.  There is a lot of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 complicated things that go on in the header tank and  
2 that's actually one place where we're always found  
3 saying that well, maybe the code doesn't handle  
4 momentum fluxes right, but it really doesn't matter in  
5 calculations.

6 That's one place where the preliminary  
7 calculations show that it doesn't matter how you treat  
8 momentum fluxing. You can get widely different  
9 answers, depending on how you treat it. So header  
10 tank modeling is an area that will have to be looked  
11 into if we do continue on with that in finding a way  
12 of -- I mean, it may be unrealistic to expect  
13 calculations you believe are real with that maze of  
14 big tank with all the tubes coming off, but something  
15 that would be bounding in the sense of licensing  
16 calculations coming up with a methodology that you  
17 believe may be conservative or bounding is something  
18 we would have to look into.

19 Also, we need a new flow map for  
20 horizontal flow and rod bundles. The PWR LOCA related  
21 development, there has been a few deficiencies  
22 identified in the interim reflood model. I'll cover  
23 that in another slide beyond this set. I'll go into  
24 it a little more. Blowdown heat transfer heat  
25 transfer deficiencies, it looks like we are under-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 predicting blowdown heat transfer. There are some  
2 condensation oscillations that may be larger than what  
3 is seen in the integral test facilities. Steam  
4 binding is a big --

5 VICE CHAIR WALLIS: Something of a  
6 numerical nature or in the model?

7 MR. STAUDENMEIER: They are related to  
8 physical models, bad physical models, correlations in  
9 the code. They have been improved to a large extent,  
10 but they are still -- we need to look at assessment  
11 against the data to see how they compare to the data.  
12 Also, for the LOCA calculations, we are going to be  
13 looking at coupling of a more advanced fuel model to  
14 the code to look at ballooning and rupture of the fuel  
15 in large break LOCA calculations.

16 NRR user needs, requests, they are using  
17 TRACE. Well, what they do is they have been running  
18 TRAC-G decks in TRACE through a multi-step process  
19 where they take their TRAC-G deck, which is very  
20 similar to TRAC-BWR format. They run it through a  
21 PERL Program that converts it over to TRAC-BWR format.  
22 Then they run it into TRACE and sometimes after steady  
23 state calculations, they want to be able to extract  
24 another input deck.

25 And our solution for doing that is SNAP

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 can read these things called the "TPR file," where  
2 it's a new binary dump format. TPR is TRAC Portable  
3 Restart, so SNAP can read that and reconstruct an  
4 ascii input deck out of that. The ESBWR, ICS and PCCS  
5 modeling that is being implemented in the code right  
6 now and being tested. They identified a problem with  
7 control system computational performance with a big GE  
8 input deck that had a thousand control blocks or  
9 something like that and we haven't figured out what  
10 that problem is yet or identified what the solution  
11 is.

12 TRACE configuration, control and testing.  
13 Right now, we're doing testing only on one platform.  
14 While our testing is done on Windows with Compaq  
15 Visual Fortran as the compiler. We want to move to a  
16 multi-platform testing environment and Chris Murray is  
17 going to be doing some work on moving towards that  
18 this year.

19 RELAP5 Code consolidation. This is having  
20 it so that you can translate RELAP5 decks and run them  
21 in TRACE. That process is you feed a RELAP5 deck in  
22 the SNAP. It creates this RELAP5 TPR file format and  
23 then TRACE reads that in and goes off and runs the  
24 calculation. As I said, we can do that for simple  
25 input decks. We have a low level effort going on at

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 ISL to expand the range of input decks that that works  
2 for. And by the end of the year, we hope to, I think,  
3 have most input decks of interest to run.

4           Actually, within the NRC, that's not as  
5 big a problem, because we have equivalent plant decks  
6 for just about any kind of plant there is in TRACE  
7 native format. And so we have like right now with  
8 this break size redefinition calculations, there is a  
9 RELAP5 deck that they are using that is based on the  
10 Seabrook prime, but we all have an equivalent TRACE.  
11 At first, it was proposed that that be translated over  
12 to TRACE using this translation capability, but it has  
13 quite a few control systems and things like that which  
14 aren't translated well.

15           But we already have a TRACE native deck or  
16 it was actually an old TRAC-P native deck that can be  
17 converted fairly easily over to TRACE native input  
18 deck. And I have been doing that to get an input deck  
19 ready for the calculations.

20           VICE CHAIR WALLIS: How about these BWR  
21 breaks? Is there a plus and all that? There's a  
22 fairly big region of instability.

23           MR. STAUDENMEIER: Yes.

24           VICE CHAIR WALLIS: Are you capable of  
25 assessing the instability region and helping NRR to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 decide about RF breaks, BWRs?

2 MR. STAUDENMEIER: No, I don't have an  
3 effort. Now, looking at developing a methodology to  
4 calculate instabilities, so I think we need more  
5 assessment work to show how well it works against the  
6 data.

7 VICE CHAIR WALLIS: So you're developing  
8 this methodology? You're comparing it with some  
9 Ringhals data? Is that what it is?

10 MR. STAUDENMEIER: Well, there is more  
11 Ringhals data that we haven't compared to that we  
12 should compare to and there is also some Peach Bottom  
13 stability data that I would like to compare to. So  
14 there is also basic hydraulic assessments that you  
15 need to do against Frag stability data.

16 VICE CHAIR WALLIS: When you get these BWR  
17 power uprates, which is quite significant, and we ask  
18 about instability and we get some sort of assurance  
19 that it's okay. It would be good if we could have  
20 some turnover on this from you folks to give us  
21 assurance that it really is okay.

22 MR. STAUDENMEIER: Yes.

23 VICE CHAIR WALLIS: Confirmation.

24 MR. STAUDENMEIER: Yes, I don't know what  
25 NRR is doing in terms of independent calculations for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that. I thought they had a contract with ISL to do  
2 some independent calculations using TRACE, but I don't  
3 know the status of those calculations or what their  
4 independent calculations, what they are that they are  
5 doing there.

6 MR. FORD: So NRR don't come back to  
7 raise, to ask some questions about this?

8 MR. STAUDENMEIER: Sometimes they do, not  
9 always. So like the stability review for ESBWR, we're  
10 not involved in that at all. So, I mean, NRR says we  
11 need your help on this, but not on that. Okay.

12 MR. FORD: So you could have NRR using  
13 TRACE inappropriately?

14 MR. STAUDENMEIER: Yes. I mean, with  
15 their ESBWR calculations for the LOCA, we had fairly  
16 close contact with those and I think they turned out  
17 fairly well and they also -- I mean, our calculations,  
18 I think, compare pretty well against GE for not having  
19 run the code through a whole set of assessments. And  
20 actually their calculations showed some errors that  
21 ours didn't have, so comparisons to the TRACE  
22 calculations actually turned up some questions for  
23 asking GE for additional information and turned up  
24 some bugs in their calculations.

25 MR. FORD: I mean, just to follow-up on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the use of this initiative on the TRACE to actual  
2 regulatory aspects, going back to Professor Wallis  
3 saying we've got a lot of -- you have no input at all  
4 to the question of the analysis by NRR or the  
5 instability?

6 MR. STAUDENMEIER: No.

7 MR. SIEBER: Only your past.

8 MR. STAUDENMEIER: Yep. I mean, there was  
9 this independent review that was started up at one  
10 time looking at, you know, it's called "BWR synergy"  
11 and now it's morphed into something else called the  
12 "safety margins" or something like that where we were  
13 going to look at things like that, but that program  
14 got cut off fairly early. There were a lot of  
15 resources involved in doing that and it wasn't  
16 supported to go on in the future, except at a much  
17 lower level and morphed into something else.

18 So BWR Reflood Model. Sometime this year  
19 we're going to be -- right now, the interim reflood  
20 model is only hooked up into the vessel component. We  
21 need to turn on all those heat transfer -- actually,  
22 the interim reflood model is more than just a reflood  
23 model. It's a full boiling curve heat transfer model  
24 and that's going to become the base heat transfer  
25 model in the code. And sometime this year it will be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 wired into being the heat transfer model for  
2 everything.

3 Right now, there is a separate heat  
4 transfer model in the core of the vessel component and  
5 there is in the BWR Chen component or in a pipe and  
6 that's going to be made consistent this year, so  
7 that's one thing we're going to be working on. Sub-  
8 channel analysis capability is another thing we have  
9 been asked for. That would be a major development  
10 effort to develop sub-channel analysis capability. So  
11 we haven't decided yet on what the capabilities of the  
12 sub-channel analysis needs to be or what the solution  
13 would be or what NRR even really wants to use it for,  
14 what the full range of applications they want to use  
15 it for.

16 CHAIRMAN RANSOM: That's for BWR?

17 MR. STAUDENMEIER: It was for PWR that  
18 they requested it for actually, because I think  
19 Westinghouse COBRA TRAC has sub-channel capabilities.

20 CHAIRMAN RANSOM: I thought you already  
21 had multidimensional capability within TRACE, so why  
22 would you want to sub-channel?

23 MR. STAUDENMEIER: Well, I guess, COBRA  
24 TRAC, apparently, has the ability to have terms for  
25 sub-channel modeling, which is a transfer term across

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 sub-channels.

2 CHAIRMAN RANSOM: Assembly to assembly,  
3 but that's just because it did not, I don't think,  
4 have the multidimensional capability. Am I correct?

5 MR. STAUDENMEIER: Yes, I'm not sure.  
6 That's what we have to get a better definition of what  
7 the calculation capability needs to be before we can  
8 think about taking on a project like that.

9 VICE CHAIR WALLIS: It seems to me you are  
10 sometimes in the position of playing catch-up. I  
11 mean, if GE wants to operate the power of something by  
12 25 percent or something bigger than they have done  
13 before and you guys may not be ready to answer the  
14 kind of questions that NRR may have about instability.

15 MR. STAUDENMEIER: That's right. I mean,  
16 they generally don't consider --

17 VICE CHAIR WALLIS: So they go and make a  
18 decision anyway.

19 MR. SIEBER: Maybe, maybe not.

20 MR. STAUDENMEIER: So, I mean, it depends  
21 on, I guess, they have to decide whether they have the  
22 current knowledge basis necessary to make the  
23 decision. And if they don't, then that has to be  
24 factored into the schedule of what research needs to  
25 be to support that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   VICE CHAIR WALLIS: They don't usually  
2 have the knowledge base. They rely on a presentation  
3 from industry.

4                   MR. SIEBER: That's right.

5                   VICE CHAIR WALLIS: And it's only if they  
6 start to question that then that you guys get  
7 involved.

8                   MR. STAUDENMEIER: Yes.

9                   VICE CHAIR WALLIS: I would have thought  
10 there would be some effort to always do independent  
11 checks of major things, such as what's the effect of  
12 a 25 percent power uprate on the stability.

13                   MR. STAUDENMEIER: Yes, I mean, you would  
14 think that. But, I mean, they maintain that they  
15 stayed within the current knowledge base in their test  
16 data and I didn't review the power uprates, so other  
17 than sitting in on some of the ACRS meetings  
18 discussing them, so I don't know all the fine details  
19 of power uprates, but NRR by signing off on the power  
20 uprate maintains they have enough knowledge to approve  
21 that and they are within the knowledge base of being  
22 able to do that.

23                   Speed up code calculations. There is  
24 always a need for faster code calculations. I think  
25 we have taken care of most of the runtime problems

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that have been reported. I'll show you an example of  
2 the main source of our runtime problems.

3 VICE CHAIR WALLIS: How long does it take  
4 to do a calculation say on large break LOCA? One  
5 realistic calculation.

6 MR. SIEBER: Well, it depends on how many  
7 steps and things.

8 MR. STAUDENMEIER: Yes, one base  
9 calculation 200 seconds. I've been running on my  
10 machine lately doing testing these code versions that  
11 come out probably about five hours, I think, four or  
12 five hours. That's a highly notarized model.

13 VICE CHAIR WALLIS: 59 statistical tests  
14 would take me a long time.

15 MR. STAUDENMEIER: Well, we have --

16 MR. SIEBER: There's a lot of machines.

17 MR. STAUDENMEIER: We have a lack of the  
18 Linux clusters and mine is a three year-old machine,  
19 so it's -- and it wasn't the fastest machine available  
20 at that time.

21 VICE CHAIR WALLIS: It's much more  
22 quickly.

23 MR. STAUDENMEIER: Yes, I think a current  
24 machine would be at least twice as fast as my machine.  
25 And if you have 15 of them sitting out there, than it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 would be fairly quick. Like a large break LOCA, I can  
2 run in the range of a half hour or something like  
3 that. Okay.

4 VICE CHAIR WALLIS: Does it have a bulk?  
5 I mean, does it never suddenly just say I can't run,  
6 because something has happened?

7 MR. STAUDENMEIER: Well, it does sometimes  
8 do that. Actually, with the latest code version  
9 coming out, it's very rare that it does do that. And  
10 actually, one thing it did more than just saying it  
11 couldn't run is it would slow down to a crawl and keep  
12 advancing very slowly.

13 VICE CHAIR WALLIS: I think in the early  
14 days of RELAP there were times when the code would  
15 just stop running.

16 MR. STAUDENMEIER: Yes, even in the later  
17 days. So, I mean, the codes sometimes do that and you  
18 trace it. You have to go and find out what is wrong.

19 VICE CHAIR WALLIS: Years and years ago  
20 talking about this code and how it always mysteriously  
21 stopped running or something.

22 MR. STAUDENMEIER: Well, through like the  
23 AP-600 calculations, at the beginning of that RELAP  
24 would stop running a lot for AP-600 calculations by  
25 the end sorting through all the problems it would run

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 robustly for almost every calculation you would throw  
2 at it then.

3 CHAIRMAN RANSOM: Along that line, does  
4 TRACE have a pretty much automated timestep control  
5 capability, so when it runs into trouble it can get  
6 through that?

7 MR. STAUDENMEIER: It does. Yes, it does.  
8 Well, it does cut down the timestep when it runs into  
9 trouble, yes. Whether it makes it through in a timely  
10 manner or not, that's another question. There is --  
11 sometimes you just get in to a point where you are  
12 into a bad correlation and it just wants to keep the  
13 timestep down real low or like if you have a  
14 condensation coefficient that's two orders of  
15 magnitude higher than it is supposed to be or  
16 something, then it will keep the timestep cut down  
17 real low or something that is causing oscillations  
18 back and forth, that's really a numerical instability  
19 driven by a bad correlation, essentially.

20 VICE CHAIR WALLIS: Does it have under-  
21 relaxation and things like that you can put in to stop  
22 some of the wilder --

23 MR. STAUDENMEIER: Actually, right now,  
24 the correlations are under relaxed from timestep to  
25 timestep. There is weighting between old time and new

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 time of the correlation values. So and that's one  
2 thing we're going to have to look at.

3 VICE CHAIR WALLIS: So when you change  
4 flow regime, it doesn't go awhile and say the transfer  
5 coefficient is either 1 or 1,000 and it jumps around?

6 MR. STAUDENMEIER: Right. It will have  
7 some weighting based on old time and new time to try  
8 and transition it over some reasonable amount of time.  
9 That's one thing we're going to do some work this year  
10 looking at the transitions and transition times,  
11 because we ran into some cases in our assessment where  
12 the answers were really highly dependent on how that  
13 averaging was performed. And we want to be in a  
14 regime where it is not really affecting the answers  
15 that much or at least we understand how it affects the  
16 answers, what we have done to it.

17 CHAIRMAN RANSOM: Were there methods to  
18 make that weighting sort of timestep independent and  
19 that's presumably the way you should do it.

20 MR. STAUDENMEIER: Yes, yes.

21 VICE CHAIR WALLIS: Whereas the old time  
22 used to be just averaging new time, old time and that  
23 one introduced some numerical effects that are almost  
24 unquantified.

25 MR. STAUDENMEIER: Yes, the transition is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 with respect to a time constant as it is being done in  
2 RELAP5. But we're going to look at reexamining the  
3 time constants and how it is done.

4 MR. SIEBER: Do you have any conversions  
5 problems?

6 MR. STAUDENMEIER: Conversions problems?  
7 I mean --

8 MR. SIEBER: You know where your limit is  
9 set too tight and it just keeps missing it?

10 MR. STAUDENMEIER: Well, what it will do  
11 if it can't converge is that it will go back to the  
12 beginning of the timestep and try again with a lower  
13 timestep.

14 MR. SIEBER: Okay.

15 MR. STAUDENMEIER: But sometimes you get  
16 into the case where it just keeps reducing timestep  
17 data. It will hit the minimum timestep and shut down  
18 saying I still can't converge at the minimum timestep  
19 and that's where you have to go look for correlation  
20 problems.

21 MR. SIEBER: It brings back memories.

22 MR. STAUDENMEIER: Yes.

23 VICE CHAIR WALLIS: It's a very funny  
24 situation here. I mean, you have one customer who  
25 asks a few questions and stops asking some after a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 while and comes back. If you were a commercial  
2 company and had 10,000 customers using your product,  
3 you would have to be really on the ball. Here it's  
4 sort of uncertain as to what questions you're supposed  
5 to be answering, because they change and are driven by  
6 the latest crisis or something.

7 MR. STAUDENMEIER: Well, we have more  
8 than, I guess, one customer. We have NRR, who is our  
9 regulatory customer. Internally, we have people doing  
10 code assessments or analyses like these 50.46 break  
11 size redefinitions, so they are providing feedback to  
12 the code saying it's not working well here or here.

13 VICE CHAIR WALLIS: The seniors at Penn  
14 State do that too? Do they give you feedback?

15 MR. STAUDENMEIER: I don't know if in  
16 terms of John's class if they give -- I mean, there is  
17 feedback that gets provided. I think John probably  
18 sticks to problems that run fairly well in terms of  
19 that class.

20 VICE CHAIR WALLIS: In terms of what?

21 MR. STAUDENMEIER: I don't know.

22 MR. MAHAFFY: This is John Mahaffy. Let  
23 me make a couple of comments here. I mean, you need  
24 to distinguish, I guess, between your customer and  
25 your user base also. And one thing that you probably

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 don't see is that whether it's of TRACE or RELAP5, the  
2 customer user base that you are used to thinking about  
3 in terms of hours that the code is run is minuscule  
4 compared to the hidden user base inside the Navy  
5 Laboratories.

6 And TRACE is the workhorse code for Knolls  
7 Atomic Power Laboratory. RELAP5 is the workhorse code  
8 for Bettis. And they have quoted to me up at Knolls,  
9 where I normally deal, total number of hours that they  
10 run this code in a year, it's astronomical. I mean,  
11 it's beyond belief. And we do get feedback from these  
12 people. So that, you know, there are things in terms  
13 of exercising this code that are well beyond even the  
14 bounds of what your normal imagination is.

15 MR. STAUDENMEIER: And we're also getting  
16 camp members starting to use the code and getting  
17 feedback from the camp.

18 VICE CHAIR WALLIS: Now, that's the  
19 international effort?

20 MR. STAUDENMEIER: Yes.

21 VICE CHAIR WALLIS: So it's quite possible  
22 that some user in Grenoble or something would use  
23 TRACE and get in touch with you and say how about  
24 this? I run this problem.

25 MR. STAUDENMEIER: Not likely in Grenoble.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. MAHAFFY: Not likely.

2 VICE CHAIR WALLIS: All right. But in  
3 Russia somewhere?

4 MR. STAUDENMEIER: No. Actually, Japan is  
5 starting to use it for some calculations. Russians  
6 are using it for calculations and actually they have  
7 presented some things at the last camp meeting where  
8 they had good assessment results versus their test  
9 data.

10 MR. SIEBER: But TRACE doesn't have the  
11 pedigrees that commercial codes have, right? Like V&V  
12 and all the quality stuff that goes into it?

13 MR. STAUDENMEIER: I mean, we have a V&V  
14 Program in quality assurance that Chris Murray will  
15 talk about later of what we do. What we don't have is  
16 something like a LOCA Code in the industry. You  
17 verify it and do the assessment, then you lock it  
18 down.

19 MR. SIEBER: Right.

20 MR. STAUDENMEIER: And then you use it in  
21 a mode where you throw inputs at it, qualify it and  
22 blindly accept the output. You don't care about what  
23 -- you don't really examine closely what it is  
24 calculating. You are -- it's because it's qualified.  
25 If it's under the conditions, you are --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. SIEBER: Yes, it's golden.

2 MR. STAUDENMEIER: Yes.

3 MR. SIEBER: Okay.

4 MR. STAUDENMEIER: So, I mean, we're kind  
5 of being used in a different manner. Our projects are  
6 more unique analysis projects and it's a lot wider  
7 scope. So to qualify it for the whole range of things  
8 that is being done, if we are to do it on a large  
9 project like AP-600, as an example, where RELAP5 was  
10 the analysis tool, it went through a lot of assessment  
11 through the various transient set it was used for and  
12 there is a stack of documentation saying it's good for  
13 that. We do have that code version sitting there for  
14 that. But that code version is also used for a lot of  
15 other things that it wasn't -- it didn't have a giant  
16 assessment effort or qualification effort.

17 MR. SIEBER: Right.

18 MR. STAUDENMEIER: It's up to the person  
19 using it for the application to go off and qualify it  
20 for that application. But we do, in terms of putting  
21 changes in the code, follow procedures in review of  
22 changes. And when this code goes out in its formal  
23 release, whichever version that will be, I mean, it  
24 will have complete documentation for users manual,  
25 assessment manual, theory manual, so it will all have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 some pedigree behind it.

2 MR. SIEBER: Yes.

3 MR. STAUDENMEIER: Every line may not have  
4 been reviewed independently by a person, but I don't  
5 believe that catches all the errors either. But it  
6 will have a wide use base and I think it will be in  
7 pretty good shape in terms of using it. But that  
8 doesn't mean, you know, I mean, some people in the  
9 industry now, utilities or companies, like most of the  
10 vendor models are based on NRC Codes. And what they  
11 will do is take an NRC Code and stick it, they will  
12 put it in their own changes, go through their own --

13 MR. SIEBER: Pre-processor and post-  
14 processor and change the name.

15 MR. STAUDENMEIER: Yes. Or put in special  
16 required models that are required by Appendix K or  
17 something like that.

18 MR. SIEBER: Right.

19 MR. STAUDENMEIER: And they will qualify  
20 it. And there is nothing to stop anyone from doing  
21 that. NRR sets the standards on what can be used in  
22 regulatory purposes or someone could take TRACE and  
23 put it through that type of processing and qualify it  
24 as an approved model if they wanted to.

25 MR. SIEBER: Well, what I think about that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is Knolls doing this, you know, they have a  
2 qualification program of their own.

3 MR. STAUDENMEIER: Yes.

4 MR. SIEBER: So they must do more than  
5 just pull it off the shelf and run a bunch of  
6 calculations and say I'm okay.

7 MR. STAUDENMEIER: Yes, they did. I think  
8 they have, well, their own modifications they put in  
9 the code. Once they get the base version from us and  
10 have their own set of things they have to do to  
11 qualify the code is being useful.

12 MR. SIEBER: For their application.

13 MR. STAUDENMEIER: For their application.

14 MR. SIEBER: That's right. Okay. Thank  
15 you.

16 MR. STAUDENMEIER: Okay.

17 CHAIRMAN RANSOM: I think we better move  
18 along. We're starting to run a little bit behind.

19 MR. STAUDENMEIER: Yes, okay.

20 MR. SIEBER: I'm hungry.

21 CHAIRMAN RANSOM: I know one thing, Joe,  
22 I would like to hear and I don't know from you or from  
23 the other presenters, but this development, looking  
24 through some of your slides, it looks like 20 years  
25 ago we could have written the same slide, you know,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 about the problems that we're running into. And I'm  
2 wondering if you or the others could say a little bit  
3 more about why has it taken so long? You know, this  
4 is the eighth year of this project actually, and you  
5 seem to still be in the development mode.

6 And there are two questions. I guess one,  
7 why is it taking so long? And the second one, what is  
8 it going to take to finish the job?

9 MR. STAUDENMEIER: Okay.

10 CHAIRMAN RANSOM: So if you kind of  
11 quickly maybe --

12 MR. SIEBER: That would be done.

13 CHAIRMAN RANSOM: I don't either. If  
14 somebody else is going to talk about that, that's  
15 fine, but maybe go quickly through the rest of the  
16 problems that you have listed on the chart.

17 MR. STAUDENMEIER: Okay. Yes, I think,  
18 well, I guess, one comment now is, I mean, competing  
19 interests have kept things from moving forward at a  
20 steady clip, like a decision was made for RELAP5  
21 compatibility to be put ahead of updating the models  
22 and correlations and making sure those worked okay.  
23 So that's one thing. There was quite a bit of effort  
24 and time sunk into RELAP5 compatibility.

25 CHAIRMAN RANSOM: This is so you could use

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a RELAP5 deck in the TRACE?

2 MR. STAUDENMEIER: Right. So that's one  
3 set of time or effort that was thrown at that. That  
4 still hasn't come to fruition where you can run all  
5 the deck sets in retrospect. It probably would have  
6 been better spent at making sure the base set of  
7 models and correlations were working well for the  
8 range of conditions we wanted to use them for. So  
9 that's probably one of the big stumbling blocks.

10 I mean, we have always had a code that  
11 runs at every step and, I mean, the biggest question  
12 was how good are the answers that you are getting and  
13 that's probably one thing that should have been done  
14 up front more, I would say, in the process. So  
15 that's, I think, put a couple year wait on it. I  
16 mean, getting a production level code. I mean, the  
17 code could run faster or slower, but it was always  
18 running and getting answers about the quality.

19 I wasn't involved in the project from the  
20 start. John might have something to say in his  
21 presentation later about other things that I'm not  
22 aware of. But that's I know the one big thing that  
23 probably delayed us a year or two, at least a year,  
24 probably closer to two years in the project. Also,  
25 assigning people that were supposed to be working on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the project to other things that had nothing to do  
2 with TRACE. I know that happened in my case. My job  
3 was supposed to be working on TRACE, but when I came  
4 over to research, I was stuck on everything but TRACE  
5 for the first two years, essentially, about three-  
6 quarters of my time.

7 CHAIRMAN RANSOM: Well, I know with the  
8 origin of this project, I think like the RELAP5  
9 conversion, the use of SNAP for all of these functions  
10 was envisioned, but was it just that that was too  
11 ambitious?

12 MR. STAUDENMEIER: Well, I think, it was  
13 changed. The original vision was that you would get  
14 some help in moving RELAP5 decks over, but it wasn't  
15 going to convert everything and it would tell you what  
16 it couldn't convert and what you had to do by hand.  
17 And that vision was changed some time into that it  
18 would take RELAP5 decks and run them without any user  
19 intervention and give you answers that were as good or  
20 better than RELAP5, and that was very ambitious, I  
21 think, and that's a lot. I mean, the first 90  
22 percent, it probably takes 10 percent of the time, the  
23 last 10 percent takes 90 percent of the time type of  
24 thing. It's one of those type of situations.

25 VICE CHAIR WALLIS: Okay. Why don't we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 try to quickly get through these and maybe we can by  
2 12:30. Can we do that?

3 MR. STAUDENMEIER: Okay. Yes.

4 VICE CHAIR WALLIS: You've spent an hour  
5 on half your presentation.

6 MR. STAUDENMEIER: So portability. It is  
7 a portable curve. The testing is done right now on  
8 Windows with Compaq Visual Fortran, but we also  
9 compiled a code and run it under pretty regularly NAG  
10 and Lahey and recently G95 compiler, which is a free  
11 compiler on Linux. It's also available on other  
12 platforms on MAC OS X, Joe Kelly runs it with xlf, IBM  
13 xlf Fortran.

14 CHAIRMAN RANSOM: What is Lahey? Is that  
15 a deck Lahey compiler?

16 MR. STAUDENMEIER: No, it's -- I can't  
17 remember. Thomas Lahey is the guy's name. Their  
18 company is out in Nevada, I think. It's a small  
19 company. Recent trace assessment. We've been  
20 focusing on mostly for the past year large break LOCA  
21 assessment, reflood tests and blowdown heat transfer  
22 tests. Our findings so far force reflood or force  
23 reflood calculations, the peak temperatures are  
24 reasonable. The quench front progression is too slow,  
25 especially up in the top half of the bundle.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Joe Kelly is going to be looking at that  
2 once he moves back into looking at 50.46 related  
3 stuff. We have saw excessive condensation  
4 oscillations in gravity reflood tests. Our latest  
5 code version has gotten rid of a lot of that, but  
6 we're going to have to assess it to look at the size  
7 of those oscillations with respect to the gravity  
8 reflood data. And we're over-predicting temperatures  
9 during blowdown heat transfer and the blowdown heat  
10 transfer seems to be very sensitive to timestep  
11 averaging.

12 For small break LOCA assessments, both  
13 with this ROSA assessment and some past semi-scale  
14 assessment, we're over-predicting peak temperatures,  
15 but generally we're predicting the parameters of the  
16 test facility fairly well in terms of pressure  
17 response.

18 MR. FORD: These are very qualitative  
19 statements, over-predicted, under-predicted, etcetera.

20 MR. STAUDENMEIER: Yes.

21 MR. FORD: Are there any of these non-  
22 predictions of practical importance?

23 MR. STAUDENMEIER: Well, I mean, one thing  
24 we found, I mean, in practical importance, there had  
25 been changes made to the code to correct some of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 non-predictions, if that's what you mean? Like some  
2 of the changes to the code make things better, like a  
3 rod bundle interfacial drag model has made the small  
4 break LOCA predictions better.

5 MR. FORD: I guess my question really is  
6 are these just academic concerns or are they really  
7 practical concerns?

8 MR. STAUDENMEIER: Well, it depends how  
9 accurate you want the answers to be. I think for  
10 small break LOCA, I think, it generally predicts the  
11 system response and, as I said, temperatures it's  
12 over-predicting. Depending on the accuracy you want,  
13 I mean, these are kind of -- you could give a whole  
14 presentation on small break LOCA assessment  
15 calculations and sometime in the future maybe we'll be  
16 able to do that.

17 VICE CHAIR WALLIS: Well, we just had an  
18 uprate for Waterford 3, which was the highest uprate  
19 for PWR, and I understand they said that they are  
20 limiting process for the uprate for break LOCA. That  
21 was what stopped them from getting 10 percent rather  
22 than 8 percent.

23 MR. STAUDENMEIER: Yes, compliance can be.

24 VICE CHAIR WALLIS: Just get the  
25 temperature right, because that temperature is what is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 limiting the power uprate.

2 MR. STAUDENMEIER: Yes.

3 VICE CHAIR WALLIS: And I assume when you  
4 say over-predicted, you mean that's satisfactorily  
5 over-prediction. It's not just a small amount, but  
6 significant enough to worry about.

7 MR. DENNING: Can you give any  
8 quantitative feel for that? I realize you can't just  
9 give one number, but about how much is it over-  
10 predicted?

11 MR. STAUDENMEIER: I mean, well, a number  
12 in my head is semi-scale small break LOCA calculation  
13 the peak temperature was in the range of maybe 650  
14 degrees and TRACE was predicting maybe 700 degrees or  
15 something like that. But none of those are up in the  
16 range of temperatures you get into in small break LOCA  
17 licensing calculations. And typically best estimate  
18 calculations for small break would give you a lot  
19 lower temperature and a licensing calculation with a  
20 20 percent extra to --

21 MR. SIEBER: In hundreds of degrees.

22 MR. STAUDENMEIER: Yes, hundreds of  
23 degrees, yes.

24 MR. SIEBER: I think most PWRs are peak  
25 clad temperature limited for Pantex K calculations.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. STAUDENMEIER: Yes.

2 MR. SIEBER: And so if you're looking at  
3 power uprate, that's what is going to fix your final  
4 top power. That doesn't ring true for boilers,  
5 however, they have more margin. There is different  
6 parameters that control how far they go.

7 MR. STAUDENMEIER: Yes, because I mean if  
8 you took the 20 percent, the K heat that they --  
9 essentially, small break LOCA industry models are  
10 close to best estimate models, except they throw on  
11 things like 20 percent of K heat.

12 MR. SIEBER: Right.

13 MR. STAUDENMEIER: But in terms of other  
14 things, they are very close to what we would run with  
15 RELAP5 and TRACE.

16 MR. SIEBER: Yes.

17 MR. STAUDENMEIER: That the K heat gets it  
18 sitting up on matching -- I mean, the only way it can  
19 get rid of that energy is through the steam generators  
20 and throw the break and 20 percent extra to K heat  
21 keeps it up at a higher pressure longer and you get a  
22 lot lower level depression and you stick it up. I  
23 mean, it's a very non-linear effect as you add power  
24 for limiting small break LOCAs.

25 MR. SIEBER: Well, the rule is pretty

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 restrictive on correlations and how things shall be  
2 treated, so, you know, that's what forces all that  
3 conservatives into an Appendix K calculation.

4 MR. STAUDENMEIER: Okay. BWR transients,  
5 Peach Bottom Turbine Trip, Tom Downar will show you a  
6 little bit more about our work doing calculations for  
7 that and also the density weight, stability. We have  
8 been updating our rod bundle interfacial drag and  
9 making some wall drag changes to the code that are  
10 going to improve those calculations over the base  
11 code, but deficiencies in the interfacial drag and  
12 wall drag changes in the base code were giving  
13 problems in the power profile predictions.

14 Recent error corrections that have sped up  
15 calculations and made them more robust, I should  
16 probably skip over them. They are not no big deal.  
17 Enhancements that are going into the latest version of  
18 the code, we're going to be releasing another version  
19 of the code to camp within the next few weeks. Joe  
20 Kelly mentioned there is a new wall drag model. We  
21 have put our rod bundle interfacial drag model into  
22 the code. Some interfacial heat transfer improvements  
23 that had to do with condensation problems in the code  
24 leg that Joe Kelly mentioned.

25 We have capability for multiple non-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 condensible gases, improve the separator component  
2 graphics.

3 CHAIRMAN RANSOM: All of these  
4 improvements are finished and they are just being  
5 incorporated into the code?

6 MR. SIEBER: They aren't incorporated yet.

7 MR. STAUDENMEIER: Some of them are  
8 already incorporated.

9 MR. SIEBER: Some of them are.

10 MR. STAUDENMEIER: And the ones that  
11 aren't will be in the next week or so.

12 CHAIRMAN RANSOM: Is it just in one flow  
13 regime? Don't you have several flow regimes?

14 MR. STAUDENMEIER: There are multiple flow  
15 regimes. I mean --

16 MR. SIEBER: Right.

17 MR. STAUDENMEIER: There is like probably  
18 slug, essentially, an annular mist, I mean.

19 CHAIRMAN RANSOM: These improvements are  
20 only in one of the flow regimes?

21 MR. STAUDENMEIER: Well, for the rod  
22 bundle interfacial drag that correlation that is being  
23 put in is really a bubbly slug type of correlation,  
24 the best correlation, so it doesn't -- but the  
25 transition to the annular mist regime is going to be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 changed.

2 VICE CHAIR WALLIS: So you're going to be  
3 going back and improving the really basic things in  
4 the code.

5 MR. STAUDENMEIER: Right.

6 VICE CHAIR WALLIS: You get some of the  
7 simplest things.

8 MR. STAUDENMEIER: Right. Yes, well, as  
9 we knew from TRAC-BWR that we needed a special model  
10 for rod bundle interfacial drag and also RELAP5. This  
11 is a similar one time problem I was talking about  
12 before. A lot of cases, you know, you would get into  
13 a case, I mean, you might have a base calculation that  
14 progresses steadily in time, but you make some  
15 propitiation or a slightly different calculation where  
16 the code gets bogged down and you, essentially, jump  
17 up your CPU time without progressing through the  
18 transient at all.

19 And some of the fixes we have made that  
20 are going into this version, we've gotten rid of all  
21 the known cases of that happening. The fixes are  
22 fixing that. I mean, when the code runs, it seems to  
23 run well, but there were cases where it would get into  
24 this type of problem or it just backs off timestep and  
25 it keep crunching away. And so the causes of that,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 there were some improvements John Mahaffy made in our  
2 Water Packing logic and also improvements in the  
3 physical models and correlations.

4 Improving automated testing, looking at  
5 multiple platforms, we're also adding or looking at a  
6 thing that we're going to call a "robustness suite,"  
7 which does real calculations of plants and test  
8 facilities and some of the calculations that have  
9 given the code problems in the past in terms of  
10 running though and getting good answers, and we're  
11 going to be making quantitative comparisons in an  
12 automated way that will set up flags when you run  
13 through the test suite that will tell you where you  
14 need to look into things further or hopefully we're  
15 going to be implementing that this year and multi-  
16 platform testing.

17 Chris may show you a little more later.  
18 As he runs through it, this whole test suite has some  
19 programs that post-process the test data and summarize  
20 it, you know, what pages where you can look at changes  
21 and performance.

22 CHAIRMAN RANSOM: Joe, why don't we stop  
23 here for lunch and then you can finish up after lunch  
24 and tell us more about the future plans, I guess, for  
25 the code.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. STAUDENMEIER: Okay.

2 CHAIRMAN RANSOM: So we'll break until  
3 about 1:30.

4 VICE CHAIR WALLIS: 1:15?

5 CHAIRMAN RANSOM: Quarter after?

6 VICE CHAIR WALLIS: 1:15? Can we catch up  
7 a bit of time?

8 CHAIRMAN RANSOM: 1:15, we can be back.  
9 Okay. 1:15.

10 UNIDENTIFIED SPEAKER: Okay. Something  
11 has to be done here to make it not go to sleep or  
12 hibernate, I guess.

13 (Whereupon, the meeting was recessed at  
14 12:30 p.m. to reconvene at 1:18 p.m. this same day.)

15

16

17

18

19

20

21

22

23

24

25

1 A-F-T-E-R-N-O-O-N S-E-S-S-I-O-N

2 1:18 p.m.

3 CHAIRMAN RANSOM: Okay. We're back in  
4 session. And Joe is going to finish up with the TRACE  
5 development release.

6 MR. STAUDENMEIER: Okay. Can you hear  
7 okay? Okay. We should be coming out with the code  
8 release by the end of February. That will also be put  
9 on a CD and sent out to camp members. The big changes  
10 in this release, since the last release, we proudly  
11 have the interim reflood model in the code, which you  
12 saw a presentation on about a year and a half ago  
13 maybe or about a year ago. We have some changes to  
14 the wall drag interfacial drag, interfacial heat  
15 transfer.

16 We have improved the performance of the  
17 separator and accumulator models in terms of phase  
18 separation in both of those models and improved also  
19 Water Packing and some other robust enhancements due  
20 to physical model corrections and some choking models  
21 fixes.

22 CHAIRMAN RANSOM: When you say improve  
23 separator, is that an empirical model or is it like  
24 the BWR separator?

25 MR. STAUDENMEIER: It's like the TRAC-BWR

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 separator. It had some numerical problems with it, so  
2 it's improving the way it works. The TRAC-BWR  
3 separator never -- it had some problems of its own, so  
4 there were some code robustness problems and also  
5 problems where it wasn't separating like it should in  
6 some cases. And we think we have worked out those  
7 problems and have it working.

8 VICE CHAIR WALLIS: You say improved Water  
9 Packing, you mean improve non-Water Packing? I mean,  
10 you don't want it to pack.

11 MR. STAUDENMEIER: That's right. It  
12 improved detection and correction of Water Packing  
13 problems and makes the code run a lot smoother. Some  
14 problems that we still have that we know about, there  
15 were some level tracking problems identified with some  
16 ESBWR calculations where the containment was actually  
17 modeled in TRACE also. Those problems will be -- we  
18 had planned on working on them this spring. They may  
19 not be a problem, since the containment is not being  
20 done in TRACE anymore, but we're going to look at  
21 that, identify that and fix it.

22 Blowdown heat transfers, there are some  
23 accuracy problems in predicting blowdown heat  
24 transfer. Joe Kelly is going to start looking at that  
25 as part of our 50.46 activities.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 VICE CHAIR WALLIS: Cloning Joe Kelly, I  
2 think --

3 MR. STAUDENMEIER: Yes, unfortunately, we  
4 can't.

5 MR. SIEBER: You can try.

6 MR. STAUDENMEIER: Yes, maybe we should  
7 spend our money in cloning research instead of code  
8 development.

9 MR. SIEBER: There you go.

10 MR. STAUDENMEIER: So and right now the  
11 reflow package is restricted to the TRACE vessel  
12 component and we're going to move that heat transfer  
13 package, so it's the default heat transfer package for  
14 the whole code, every component in the code by the end  
15 of the year. We want to do that.

16 Our 2005 development priorities, fix  
17 robustness problems and physical model deficiencies.  
18 As I said before, our biggest ones now are  
19 condensation oscillations and blowdown heat transfer  
20 and also some problems with the reflow heat transfer,  
21 a few deficiencies, unified physical model package.  
22 Right now, also, when you turn on the reflow package,  
23 you need to turn it on with a trip set in the code, so  
24 it is user activated at a certain time. And when it's  
25 a unified package, the code is going to do all the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 detection logically doing that. It's going to be  
2 automatic.

3 More implicit numerical methods and adding  
4 droplet fields to the code.

5 VICE CHAIR WALLIS: It makes it a three-  
6 fluid model?

7 MR. STAUDENMEIER: There is going to be  
8 two droplet fields added.

9 VICE CHAIR WALLIS: Both fluid model?

10 MR. STAUDENMEIER: I mean, at least three.  
11 It depends if you may want to use more than --

12 CHAIRMAN RANSOM: They all have four  
13 momentum treatment as well as energy and mass for each  
14 one of those fields?

15 MR. STAUDENMEIER: In terms of energy, I  
16 think the first implementation is that temperature is  
17 going to be the same for all the liquid fields. John  
18 is putting that in and he can answer some questions  
19 about that in his later talk if you want to ask him  
20 that.

21 VICE CHAIR WALLIS: Are droplets going to  
22 impinge on spaces and things like that?

23 MR. STAUDENMEIER: It will give the  
24 ability, yes, to put in --

25 VICE CHAIR WALLIS: All that stuff is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 going to be in there?

2 MR. STAUDENMEIER: Yes. Well, not when  
3 the droplet fields first go in. There has to be some  
4 correlations that get implemented that take advantage  
5 of the droplet fields. So when the droplet fields are  
6 first put into the code, they won't have correlations  
7 with them and there will need to be correlations  
8 developed to take advantage of the droplet fields.

9 VICE CHAIR WALLIS: Don't you have more  
10 simultaneous equations to solve? You have more  
11 conservation, so you have a different solution  
12 algorithm of some sort?

13 MR. STAUDENMEIER: Well, the solution  
14 algorithm, I guess, essentially, will be the same, but  
15 it will be generalized to more equations.

16 VICE CHAIR WALLIS: So you formed that?

17 MR. STAUDENMEIER: Yes. Okay. Features  
18 needed for ESBWR, ACR-700. For ESBWR they are --

19 VICE CHAIR WALLIS: Well, I would think,  
20 I'm sorry, that going to a four equation model instead  
21 of a two equation model is a really major change.  
22 You're going to run into all kinds of development  
23 issues.

24 MR. STAUDENMEIER: Well, the problem is  
25 finding data to get good closure models for the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 correlation models.

2 VICE CHAIR WALLIS: You need more  
3 correlation models, but also --

4 MR. STAUDENMEIER: You need more closure,  
5 yes.

6 VICE CHAIR WALLIS: -- all kinds of things  
7 you haven't yet come into, you know. Matrices have  
8 zero determinants and things and you get weird  
9 characteristics that change from one --

10 MR. MAHAFFY: If you would like, I can  
11 talk to you about that when I'm up.

12 VICE CHAIR WALLIS: Okay. Okay.

13 MR. STAUDENMEIER: But I mean, in a sense  
14 it's going back to the future, back in the '80s the  
15 NRC had a three field model with droplets that --

16 VICE CHAIR WALLIS: And one question on --

17 MR. STAUDENMEIER: Joe Kelly was one of  
18 the developers on that code.

19 CHAIRMAN RANSOM: There are more implicit  
20 numerical methods? My understanding is TRACE had this  
21 multi-step implicit formulation, which was full  
22 implicit.

23 MR. STAUDENMEIER: Yes, but --

24 CHAIRMAN RANSOM: What's that?

25 MR. STAUDENMEIER: Okay. I was going to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 say what we're looking at now is implicit interfacial  
2 heat transfer, implicit wall heat transfer and  
3 essentially full implicit fluid flow with the drag  
4 coefficient being --

5 CHAIRMAN RANSOM: In other words, the  
6 temperatures are moved to new time basically, that you  
7 used in those correlations?

8 MR. STAUDENMEIER: And the coefficients.

9 CHAIRMAN RANSOM: Yes.

10 MR. STAUDENMEIER: Because right now  
11 coefficients are like for wall drag, the drag stuff  
12 will be the last stuff that will be made implicit, but  
13 yes, they are all. Like right now, there is  
14 inconsistency between the wall temperatures and the  
15 fluid solution and in the conduction, so where should  
16 we move it?

17 CHAIRMAN RANSOM: Yes.

18 MR. STAUDENMEIER: Okay. Improve  
19 automated testing, multi-platform testing and improve  
20 TRAC-B and RELAP5 support. And as I said before,  
21 we're offering our first training workshop, which is  
22 similar to RELAP5 training workshops that we have been  
23 offering for as long as I have been here, essentially.  
24 There have been RELAP5 training workshops going on.  
25 So it will be in the same form as those workshops.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RANSOM: Who all is invited to  
2 that? Anybody who wants to come?

3 MR. STAUDENMEIER: Anybody who wants to  
4 come, except its too late if you want to come now,  
5 it's full the workshop. But the announcement was sent  
6 out to the RELAP5 users group members that ISL runs,  
7 to camp members, NRC staff, NRC contractors, but yes,  
8 there's a wide range of people coming. There is camp  
9 people. There is NRC internal staff. There is --

10 CHAIRMAN RANSOM: Maybe you ought to  
11 invite the ACRS.

12 MR. STAUDENMEIER: Some contractors, yes,  
13 they are free to come. Actually, my branch chief is  
14 taking the class, so he's --

15 CHAIRMAN RANSOM: How long is this?

16 MR. STAUDENMEIER: Three days.

17 VICE CHAIR WALLIS: We don't learn very  
18 quickly though.

19 CHAIRMAN RANSOM: We ask too many  
20 questions maybe, huh?

21 MR. SIEBER: That's one of the rules, no  
22 questions.

23 MR. STAUDENMEIER: Yes, actually, the  
24 workshop is learning something about the code and  
25 models and component models inside the code and there

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is also hands-on workshops where you are building  
2 models and running them and learning functionality of  
3 actually running the codes. So this course is just  
4 kind of an introduction. It's not going to teach you  
5 two phase flow and thermal-hydraulics. It's teaching  
6 you essentially what is in the code and how to use the  
7 code.

8 Our first release target for an official  
9 release with all the documentation complete is about  
10 two years away in our estimate and that will be having  
11 a code assessed for the operating PWR and BWR. At  
12 least you U-tube PWR. I don't know if we'll be  
13 looking at ones through steam generator PWRs in any of  
14 the assessments. So far no assessment has been done  
15 for that. I will be striving soon upon the feature  
16 set and range of assessment to be decided upon soon.

17 VICE CHAIR WALLIS: The ESBWR Model, too?

18 MR. STAUDENMEIER: That won't be part of  
19 the release. That documentation, I mean, we --  
20 subject to their applicability report for something  
21 like ESBWR will be a proprietary type report, so we  
22 can't put assessment and applicability of that reactor  
23 design in a public release. But the code will be, I  
24 mean, it will be being used for ESBWR during that time  
25 frame. But, I mean, if someone wants to take it and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 analyze a design similar to ESBWR, they will have to  
2 go out and find out the range of use and make sure all  
3 the models work for that design, but we can't send out  
4 an approved code for ESBWR or any other reactor for  
5 that matter.

6 But it will be assessed against typical  
7 operating PWR and BWR accidents of interest. We will  
8 be freezing the feature set in physical models for  
9 this code release by the end of the summer and be  
10 assessing what that frozen code version and only  
11 making corrections and not adding new features that  
12 will go in the release, at least the assessed part of  
13 the release. There will be features that you would be  
14 able to access, but they won't be part of the features  
15 that are assessed and approved for use, essentially.

16 The documentation, it will be complete  
17 documentation of the users theory and assessment  
18 manual, the programmers manual will arrive later.

19 CHAIRMAN RANSOM: Who is going to do that  
20 documentation?

21 MR. STAUDENMEIER: In-house. I mean,  
22 that's why we have to -- I mean, essentially, it's  
23 going to take us probably a year to get all the  
24 documentation done with a lot of us working, spending  
25 a significant amount of time on that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RANSOM: I know that.

2 MR. STAUDENMEIER: We'll try to get help  
3 from ISL probably to help complete the documentation.  
4 But it's essentially --

5 CHAIRMAN RANSOM: The previous  
6 documentation came out from Los Alamos and there was  
7 somewhat of a disconnect between it seemed like what  
8 you are actually doing or the people who were doing  
9 the work and people who wrote the documentation.

10 MR. STAUDENMEIER: Yes, well, it will be  
11 based -- that will be the basis for the documentation.  
12 But we'll be making a lot of modifications and make  
13 sure everything is up to date. I mean, Chris Murray  
14 keeps the users manual up to date. When things go in  
15 or they change the users manual, he keeps up the, at  
16 least, input format part of that up to date. And if  
17 new components are added, he puts that. We have a lot  
18 of documentation from things that have been put into  
19 the code sitting out in various reports that have to  
20 be taken and integrated into the release  
21 documentation.

22 Like when Joe Kelly puts his new  
23 condensation model in the code, there will have to be  
24 theory manual documentation for that and how to -- and  
25 user manual documentation for how to activate that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 So it's a big effort to do documentation.

2 VICE CHAIR WALLIS: Well, when John  
3 Mahaffy was here last time, he told us that TRACE had  
4 all the faults of the previous codes, in terms of  
5 fundamental equations, momentum equations and so on.  
6 We have yet to see code documentation that has a  
7 proper element of momentum equations that is  
8 convincing. Are we going to see it this time?

9 MR. STAUDENMEIER: This time as in today?

10 VICE CHAIR WALLIS: Well, this time. In  
11 two years time when you have the documentation.

12 MR. STAUDENMEIER: Yes, well, I think John  
13 is going to cover how his equation of motion is  
14 treated in TRACE right now to today.

15 VICE CHAIR WALLIS: He's going to do --

16 MR. STAUDENMEIER: But, I mean, we will.  
17 That's something that probably will have to be updated  
18 over the current theory manual to give a clear  
19 explanation of exactly what is done. And as I said,  
20 we would like to put out our completed documentation  
21 for peer review, contract it our for peer review and  
22 also provide it to the ACRS for comments before it  
23 gets released.

24 VICE CHAIR WALLIS: You know the danger  
25 then Vic referred to earlier that you put out this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 documentation two years from now and peer review  
2 people look at it and say gee whiz, that's a pretty  
3 broad basis for a code and yet he had done it at the  
4 end.

5 MR. STAUDENMEIER: Yes, well, I guess, in  
6 terms of documentation it is right now -- I mean, it  
7 has been reviewed in the past, the documentation, back  
8 at the end of the CSA Project and brought up, I guess,  
9 all the comments that were made on the documentation  
10 back during that were integrated and the code  
11 documentation was updated based on that.

12 VICE CHAIR WALLIS: A long time ago.

13 MR. STAUDENMEIER: A long time ago. I  
14 mean, we added new features and changes to the code.  
15 But I guess, at that time, that level of documentation  
16 was accepted as adequate.

17 VICE CHAIR WALLIS: The original TRAC  
18 documentation was terrible. I mean, the code was  
19 developed and there wasn't a record of how and why.  
20 I'm sure it's better now. Okay. So we will perhaps  
21 see this stuff in two years time or you'll know what  
22 really goes in --

23 MR. STAUDENMEIER: Well, you will see it  
24 before then, I think. I mean, by the end of the year,  
25 I would think or early next year, we would have a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 pretty good draft documentation. I mean, right now,  
2 the documentation is in a reasonable form if you have  
3 any glaring deficiencies that come out at you now. If  
4 you looked over it, we would be glad to hear your  
5 comments about it.

6 VICE CHAIR WALLIS: With luck, you may see  
7 us again by then.

8 MR. STAUDENMEIER: Okay. Yes, we're just  
9 going to try to outlast you all, that's all.

10 CHAIRMAN RANSOM: Are these documents on  
11 the website?

12 MR. STAUDENMEIER: They are on the code  
13 developer's website. And actually, yes, there is a  
14 new website called nrccodes.com that is a password  
15 protected website that you could get a password for.  
16 Because of NRC computer security problems, we are  
17 moving our website. A lot of the material outside to  
18 ISL, so we don't have to deal with the security  
19 requirements of the NRC in terms of supporting a  
20 website, a public website like that.

21 VICE CHAIR WALLIS: So it's a dot com not  
22 a dot gov?

23 MR. STAUDENMEIER: Right. Yes, while we  
24 used to have the NRC, the codes website inside the RES  
25 and that got closed off after 9/11.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. MAHAFFY: Could I kick something in  
2 here, Joe? This is John Mahaffy. My recollection  
3 from the last time I was at one of your meetings was  
4 that you were given access, at least some subset of  
5 the ACRS, to the developer's website.

6 And at the time, we did tell you that  
7 documentation was available, so that any time you want  
8 to see what's in progress, if you have still got that  
9 access, that's the place to go. When I have got a  
10 question about documentation on something, you know,  
11 I just go onto the developer's site and pull down  
12 whatever the latest documentation is.

13 UNIDENTIFIED SPEAKER: Yes, our code CD  
14 releases, I think, have all the current documentation  
15 on it, too, so we could send down a CD when we make  
16 this latest camp release.

17 MR. CARUSO: Why don't you send me a copy  
18 of that CD, Joe?

19 UNIDENTIFIED SPEAKER: Okay. Yes, we can  
20 even give you -- I think there's even executables on  
21 the CD. You could run the code if you want to, SNAP.

22 MR. STAUDENMEIER: Okay. That completes  
23 my presentation. I think next up is Tom Downar.

24 CHAIRMAN RANSOM: Right. Mr. Downar from  
25 Purdue.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. DOWNAR: I'm Tom Downar from Purdue  
2 University and I have been part of the TRACE  
3 Development Team from the very beginning. This is my  
4 first time speaking with the ACRS, so I thought it  
5 might be appropriate, you know, if I give a little  
6 background on PARCS.

7 You know, over the last seven, eight years  
8 I have had several students who have contributed to  
9 the code, this past year three students in particular  
10 who two of them are now post docs, a former student  
11 who is at ISL, Doug Barber, and then Joe, of course,  
12 who is our project manager.

13 And this is a website we maintain. We  
14 have now about more than 45 users of PARCS around the  
15 world and we have made this website available to them  
16 where they can get some of the PARCS-specific things,  
17 and then also go to links of my students and get their  
18 PowerPoint presentations, see some of the things that  
19 the students have been doing.

20 Just by way of background, of course, what  
21 we're solving is the Boltzmann Transport Equation for  
22 the neutron distribution. We coupled that to the  
23 Nuclide Equation and then to get the feedback from  
24 TRACE or RELAP. So we're solving coupled field  
25 equations.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 PARCS, specifically the features that we  
2 have, we're at Version 2.6 and many features have been  
3 added over the years. We're solving the steady-state  
4 fundamental mode Eigenvalue Problem for the Real and  
5 Adjoint. We also do the harmonics, because now we're  
6 doing stability plus we're solving the time dependent  
7 problem.

8 We started out just doing the two group  
9 form of the diffusion equation. Now, we're doing  
10 multigroup and we're also doing transport solution.  
11 Numerical schemes, we do Coarse Mesh Finite Difference  
12 Acceleration and we solve our linear systems using a  
13 Krylov Linear Solver, Pin Power Reconstruction coupled  
14 to both TRACE and RELAP5. We also have a processing  
15 code to process the cross sections that are generated  
16 with our commercial code or now with the code TRITON,  
17 and we're doing Fuel Cycle Analysis also.

18 VICE CHAIR WALLIS: So you have lots of  
19 nodes all over the core?

20 MR. DOWNAR: Yes. I will show you  
21 pictures.

22 VICE CHAIR WALLIS: How many?

23 MR. DOWNAR: About 40,000 fuel nodes.

24 VICE CHAIR WALLIS: Is the thermal-  
25 hydraulics as precise as that?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. DOWNAR: No. That's one of the issues  
2 that we have had to address in particular now that we  
3 have been doing BWR coupled code analysis. We started  
4 out doing Peach Bottom with 33 channels, so there  
5 would be 748 neutronics nodes in each plane and then  
6 about 24 planes that would map the neutronics into 33  
7 thermal-hydraulics channels.

8 We started doing stability last year and  
9 what we found that now, we needed more channels, so we  
10 have even looked at some models where we're doing one  
11 thermal-hydraulic channel for each physical BWR  
12 channel and I will show you some slides, but obviously  
13 the computational time is going to increase  
14 dramatically. So I will get to that in a little bit.

15 CHAIRMAN RANSOM: How about when you apply  
16 it to a PWR? Is there still a need for that amount of  
17 detail?

18 MR. DOWNAR: We have done it. I will show  
19 you a main steam line break problem. We did TMI core  
20 and for a PWR not as much. You know, fidelity in  
21 terms of the TH model is required. The problem is  
22 easier from a, you know, thermal-hydraulics  
23 standpoint. For the stability problem though, if you  
24 want to model some of the complex phenomena, your  
25 coupling has to increase in fidelity for both fields.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 VICE CHAIR WALLIS: You have different  
2 kinds of stability, don't you?

3 MR. DOWNAR: Right.

4 VICE CHAIR WALLIS: You have some high  
5 frequency ones and some low and some very low  
6 frequency things.

7 MR. DOWNAR: Yes. Right. There's, you  
8 know, in-phase and out of phase oscillations. I will  
9 show you that in a second. We chose to do two points  
10 of the Ringhals stability test. There were a total of  
11 40 points. We chose two points. One, because the  
12 dominant mode was a regional out of phase oscillation,  
13 and then we chose another point where the dominant  
14 mode was an in-phase, and I will show you some  
15 preliminary results only on the in-phase. We have not  
16 yet tackled the out of phase oscillation.

17 Going back to the neutronics though, what  
18 we're doing over the years is adding the  
19 sophistication of the solvers tackling, you know,  
20 different geometries. We have always been able to do  
21 Cartesian geometry, two group nodal, as I mentioned.  
22 Over the years we have added the ability to do  
23 hexagonal lattices.

24 This was some work that we did for the  
25 Department of Energy several years ago as part of a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 separate project, and then we have added it to PARCS,  
2 appropriately key rated, and now it's part of the NRC  
3 PARCS. The people that do VVERs were happy to get  
4 that feature.

5 We also have cylindrical coordinates.  
6 Back when Exelon had its prelicensing application for  
7 the PBMR, this was added. That stopped. Internally,  
8 we kept doing this development and now, we're doing  
9 PBMR benchmark problems with South Africa in Penn  
10 State. So the functionality in PARCS is pretty broad  
11 in terms of applicability for geometries.

12 I thought I would show you this slide  
13 though to give you a picture of the forest before  
14 jumping into the trees a little bit more. Of course,  
15 here is your temperature fluid field. But in order to  
16 do the neutronics calculation, we need to have really  
17 two separate codes.

18 One, we need to have a lattice code to  
19 generate the cross sections, the coefficients for the  
20 Boltzmann Equation, and then we need a code like PARCS  
21 to do the core simulation. So we have written an  
22 interface code we call GENPMAXS that takes the output  
23 from the lattice code, processes that, puts that into  
24 a format then that is read by PARCS.

25 The next slide, I think, is a little bit

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 more pedagogical and gives you a sense of how we're  
2 tackling this problem. This is the Boltzmann Equation  
3 and we're separately doing calculations to get the  
4 coefficients for the Boltzmann Equation with those  
5 coefficients then solving for the flux with fixed  
6 coefficients.

7           So Oak Ridge has developed a code called  
8 TRITON, part of their scaled package. This was done  
9 as part of the work for MOX fuel analysis and the  
10 TRITON Code developed an output, Tranxs. Again, we  
11 read that. We generate interface libraries. We call  
12 them PMAXS. Then we're prepared to do the core  
13 calculation at any set of thermal-hydraulic conditions  
14 that we will encounter.

15           So these calculations here are performed  
16 at several different branches, we call them. This is  
17 the burnup of the fuel, but then at a particular  
18 burnup we then run a range of fuel temperature,  
19 moderator temperature, moderator density, soluble  
20 Boron controlled by conditions. So we're running  
21 different lattice calculations at all of these points.

22           Then the objective is to set up a cross  
23 section model functionalized such that we can then  
24 accept from TRACE or RELAP for every particular node  
25 the fuel temperatures, the moderator densities at that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 node and then use this model with these precalculated  
2 coefficients to get the exact conditions at that node.  
3 So you know, this is kind of giving you the 10,000  
4 foot view of how we do it.

5 One of the reasons I have shown you this  
6 also is that this has been the standard procedure we  
7 have used in the light water reactor neutronics  
8 business for 20, 30 years and it has worked well.  
9 However, there are, you know, some applications that  
10 have come up in the last several years where this two-  
11 step process, you know, is starting to introduce  
12 errors, you know, that are, you know, non-trivial.  
13 Specifically, I will show you in a second, there is  
14 the business of now looking at cores one-third loaded  
15 with MOX fuel and then also the ACR.

16 The reason this is a problem because when  
17 you do this, this step calculation here, you do this  
18 lattice calculation for a fuel assembly with zero  
19 current or reflective boundary conditions. So you're  
20 looking at it with boundary conditions that are going  
21 to be different than those that are actually seen in  
22 the core.

23 For light water reactors over the years,  
24 not so bad, because you typically have a loading  
25 pattern where you have fresh fuel next to slightly

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 burned fuel, but the gradients at that interface are  
2 not so bad. But now with MOX fuel next to uranium  
3 fuel, this is starting to, you know, be a problem. So  
4 that has been part of, you know, the motivation for  
5 some of the work that has been done in the MOX fuel  
6 area and in the ACR, and I will get to that in a  
7 little while.

8           Once we have the cross sections, now we  
9 can get the temperature fluid conditions from TRACE.  
10 Over the years, you know, we have changed the  
11 coupling, the way these codes have been coupled. We  
12 started out back in '98 where we had, you know, RELAP,  
13 TRAC-M back then and we had PARCS, and we actually had  
14 a separate module here as the interface. So we had  
15 three processes running and that was a little bit  
16 cumbersome.

17           Eventually, we took the interface and  
18 merged that into PARCS, so then we were only having  
19 two processes. These two processes would communicate  
20 using Parallel Virtual Memory, PVM. It's just a  
21 message passing protocol.

22           Finally, this past year, as Joe mentioned,  
23 we wanted to eliminate the complexity of even having  
24 to have the user use PVM, so we have merged PARCS and  
25 TRACE. Now, PARCS, basically, is a static library and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it's just linked. So it has, you know, considerably  
2 simplified this to the user, but I thought it might be  
3 interesting just to see the background over the years.

4 As Joe mentioned, we have our own  
5 graphical user interface. This is QuickWin, which  
6 works on Windows. And you can see what we're showing  
7 here is real time the -- not real time in terms of the  
8 transient, but real time in terms of the --

9 MR. SIEBER: Everything being together.

10 MR. DOWNAR: Yes, everything being  
11 together during the actual simulation of the code.  
12 You can just see this is the power, so I think this is  
13 Peach Bottom Turbine Trip and you can just see there's  
14 maps. We're on schedule. Chester tells me we're on  
15 schedule for July now where PARCS will be integrated  
16 into SNAP, so this is the kind of thing we have been  
17 using on our own for the last several years.

18 So I thought what I would do is give you  
19 some background in terms of the code assessment  
20 mentioned briefly in some of the work we have done  
21 here as part of the MOX fuel analysis problem. But  
22 more importantly, I think, to you is this word down  
23 here. I will just briefly mention the steam line  
24 break, because I think you have heard about that and  
25 that has been finished for several years.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 More importantly, down here, is the BWR  
2 assessment. I will show you some Peach Bottom and  
3 some ongoing work we're doing with Ringhals, and then  
4 I will just finish up mentioning what we're doing now  
5 for the ACR. Okay.

6 So first, the MOX project. We started  
7 this project three years ago and the notion here is  
8 that when you are putting fresh fuel with enriched  
9 uranium, fresh fuel with plutonium, when you put those  
10 bundles next to each other, again, you're looking at  
11 conditions, which are very different than the typical  
12 light water reactor where it's uranium next to  
13 uranium. The reason is because the absorption cross  
14 sections for the plutonium isotopes --

15 MR. SIEBER: Are different.

16 MR. DOWNAR: -- are very different from  
17 uranium 235. That gives you significant differences  
18 in the spectra. The MOX spectra, because of the  
19 larger absorption here, more thermal neutrons are  
20 being absorbed.

21 MR. CARUSO: What's the difference between  
22 a fresh MOX bundle and a once or twice burned non-MOX  
23 bundle?

24 MR. DOWNAR: In terms of reactivity?

25 MR. CARUSO: In terms of the absorption

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 cross section distribution or the neutron spectra.

2 MR. SIEBER: Quite a bit.

3 MR. DOWNAR: Yes. I mean, you have to  
4 remember we have always, obviously, been analyzing  
5 cores with plutonium. We build that in right into --  
6 when we have fresh uranium, we build plutonium in.  
7 The difference now is that we're talking about taking  
8 these bundles, let me just skip ahead two slides,  
9 whoops, one slide, we're now taking fresh fuel and  
10 we're loading it with, you know, 4, 3, 2.5 weight  
11 percent MOX.

12 So to answer your question, the  
13 reactivity, you know, is similar in some sense but,  
14 you know, the neutronics properties are considerably  
15 different. Does that answer your question?

16 MR. SIEBER: MOX fuel is usually made with  
17 depleted uranium and because they do that, that gives  
18 you a really low concentration of U-235, which  
19 exacerbates the effect of the differences in spectrum  
20 and the differences in cross section between the  
21 plutonium and whatever remaining U-235 content there  
22 is. So that makes it more severe than just nearly  
23 depleted uranium fuel assemblies. I mean, the  
24 spectrums are different. The cross sections are  
25 different.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. DOWNAR: Yes.

2 MR. SIEBER: And you have some other  
3 things that go on like self shielding.

4 MR. DOWNAR: Exactly.

5 MR. CARUSO: But are the methods that much  
6 different?

7 MR. SIEBER: The --

8 MR. DOWNAR: The methods that I use in the  
9 core simulator?

10 MR. CARUSO: Well, I'm trying to  
11 understand why the methods would be much different  
12 for --

13 MR. SIEBER: They are not.

14 MR. CARUSO: -- for a MOX bundle as  
15 opposed to a once or twice burned non-MOX bundle.

16 MR. DOWNAR: Well, let me just show you a  
17 few more slides. Maybe that will help.

18 MR. CARUSO: And I was wondering here just  
19 looking at this diagram here, you're comparing a core  
20 that looks like that's entirely UO --

21 MR. DOWNAR: This is just a fuel assembly.

22 MR. CARUSO: Oh, that's a fuel assembly.  
23 Okay.

24 MR. SIEBER: Right.

25 MR. DOWNAR: This is just the fuel

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 assembly. So what I'm going to show you is you take  
2 this fuel assembly and what we do in this two-step  
3 method is we're going to generate then homogenized  
4 cross sections with our lattice code using a  
5 reflective boundary condition, right?

6 So in other words, in the lattice code we  
7 use integral transport, a very fine detailed  
8 representation of the pin, the clouding, the  
9 moderator. Then what happens, we take those cross  
10 sections to the core simulator. So we're going to do  
11 it for this bundle. Then we're going to do it for  
12 that bundle also.

13 MR. SIEBER: Right.

14 MR. DOWNAR: The problem is that when you  
15 look at these bundles in isolation, you get spectra  
16 that look like this and like this. You put them  
17 together, what happens at that interface, that  
18 spectrum is not an asymptotic spectrum.

19 MR. SIEBER: Right.

20 MR. DOWNAR: It's now neither --

21 MR. SIEBER: Right.

22 MR. DOWNAR: -- this one alone or this one  
23 alone. So this boundary condition that we assumed to  
24 be zero current, it's no longer useful. You see? So  
25 it's that interface.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. SIEBER: And it depends on where you  
2 are within the assembly.

3 MR. DOWNAR: Right.

4 MR. SIEBER: What those look like.

5 MR. DOWNAR: Right.

6 MR. SIEBER: So once you're past a couple  
7 of diffusion links, the spectrum really changes.

8 MR. DOWNAR: Right. It's changing  
9 considerably as you move.

10 MR. SIEBER: Right.

11 MR. DOWNAR: So when you begin to put  
12 these bundles into the MOX, into a core one-third  
13 loaded with MOX fuel, it's a different problem, if you  
14 will, than if it was just uranium. So what we did  
15 over the years, we tackled that by increasing the  
16 number of energy groups. We have normally been using  
17 two energy groups.

18 MR. SIEBER: Right.

19 MR. DOWNAR: You go to eight energy  
20 groups, you mitigate the problem, because now you're  
21 allowing neutron transport to exist between, you know,  
22 a whole larger number of energy groups. We also added  
23 a transport capability. Normally, we use P1 theory.  
24 Now, we're using SP<sub>3</sub> and doing pin-by-pin analysis.

25 So very briefly, I will just show you some

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 assessment we did using critical experiments that were  
2 performed in Belgium, and then I will show you a  
3 transient benchmark problem that the OECD/NEA, we  
4 proposed and was accepted by them.

5 This is just showing you the equations  
6 that we're solving. Normally, we just solve the first  
7 two equations, so those would be the P1 equations.  
8 Now, what we're doing is we're adding the third and  
9 the fourth equations. And you can see what we do is  
10 we combine these into two equations such that this  
11 first equation is the diffusion equation if I drop,  
12 you know, the second moment or if I drop this moment  
13 and this moment. That's P1 theory.

14 What we're doing is now solving an  
15 additional equation and putting them in this forum  
16 allows us then to use the same machinery, in other  
17 words use the same set of solvers that we have had all  
18 along in PARCS.

19 This then we apply, you know, to benchmark  
20 problems. This is a classic benchmark problem that  
21 has been performed by many of the European countries  
22 who have been recycling plutonium into their cores.  
23 That was, in fact, the motivation for this benchmark  
24 in Belgium. You're looking at plutonium assemblies  
25 here. These are uranium and this is a reflector,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 baffle reflector. So at this interface, you have very  
2 significant spectral differences.

3 MR. SIEBER: It makes a difference where  
4 the plutonium came from, too, right?

5 MR. DOWNAR: Well, this is reactor grade.

6 MR. SIEBER: Okay.

7 MR. DOWNAR: This was done with reactor  
8 grade.

9 MR. SIEBER: Well, that's different than  
10 weapons grade.

11 MR. DOWNAR: I agree, yes, absolutely.  
12 But we did this problem, because this was the only  
13 critical --

14 MR. SIEBER: Right. That's the only data  
15 you have.

16 MR. DOWNAR: Right.

17 MR. SIEBER: Okay.

18 MR. DOWNAR: And this slide is a brief  
19 summary that here is the conventional method, and you  
20 can see that the errors in prediction of the pin  
21 powers is on the order of, you know, 4, 5 percent. By  
22 using the higher number of energy groups, you know,  
23 the error is significantly decreased.

24 Down here you're looking at one of the  
25 pins that was measured, and this is the axial

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 position, and along the length of the pin you're  
2 looking at the difference in the prediction of PARCS  
3 compared to the measurement, and you can see plus or  
4 minus a couple percent. So, you know, the bottom line  
5 here is that these methods were put in to analyze the  
6 MOX core and now, there's confidence from doing the  
7 critical experiment that we can analyze one-third  
8 loaded MOX core.

9 So the next step was to look at something  
10 that might be of interest, specifically a control rod  
11 ejection from a one-third loaded MOX core could be  
12 more. You know, you don't know, but it could be more  
13 severe than a uranium fueled core. Beta effective,  
14 you know, will be smaller in a plutonium core. So  
15 then you say well, let's take a look and see, you  
16 know, what the behavior is.

17 The way I thought would be appropriate is  
18 you get a large community to do the same problem. You  
19 develop a benchmark and then you go around the world  
20 and you ask users would you do this problem, and you  
21 get people with similar methods and see how they  
22 agree.

23 So we proposed this back in 2001 to the  
24 OECD. We developed a MOX rod ejection problem. It's  
25 from a core, 4-Loop Westinghouse PWR, similar to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 core that will actually be used by Duke Power, and we  
2 have a scenario again where we're ejecting a control  
3 rod, you know, from this core.

4 We have now more than 10 participants, and  
5 I think that's, you know, a critical number if you  
6 have at least 10 people doing the problem from Japan,  
7 Russia, some European participants, Korea as well as  
8 ourselves, and people doing it with methods, various  
9 types of methods. So where we are now is we have, as  
10 you can see, several results. We're gathering  
11 results. We will have by the end of the spring  
12 prepared a report. In June there is a meeting in  
13 Paris and we will present our results.

14 Here I'm just showing you some preliminary  
15 results for the rod ejection. The rod ejection, as  
16 you might remember, is a super prompt critical event  
17 where the assertion of more than a dollar Doppler  
18 takes over and of interest, of course, is the energy  
19 deposition before the Doppler takes over. And I'm  
20 just showing you here that we have Korea, the Swiss  
21 and ourselves all using two group nodal methods and we  
22 agree pretty well.

23 But now, we ran the same problem with our  
24 SP<sub>3</sub> solver and you can see that the prediction here is  
25 for a lower peak, little bit delayed. So the results

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 are different depending on, again, the order of the  
2 method. So what will be interesting --

3 VICE CHAIR WALLIS: Doesn't  $SP_3$  have  
4 better physics?

5 MR. DOWNAR: Yes,  $SP_3$  is a transport.

6 VICE CHAIR WALLIS: Right.

7 MR. FORD: So does that mean that  
8 everybody else is wrong apart from the  $SP_3$ ?

9 MR. DOWNAR: It doesn't necessarily.  
10 Well, I think, again, two group diffusion theory  
11 predicts that and these are different codes predicting  
12 the same thing. So we feel that okay, if that's, you  
13 know, the accuracy, the order of your method, that's  
14 what you're going to get and that's comforting. But  
15 obviously, as you use a higher order of method, you  
16 know, what we're seeing here is that, in fact,  
17 transport solution is saying that the peak is lower.

18 MR. SIEBER: It makes a lot of difference.

19 MR. DOWNAR: What we're expecting is we're  
20 going to have people doing this problem with integral  
21 transport, with SN methods and, you know, by the time  
22 we finish we're going to have, I think, a very good  
23 picture. So that's --

24 VICE CHAIR WALLIS: Is there any reason  
25 why things should happen slower with  $SP_3$ ?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. DOWNAR: Well, there's a simple model,  
2 point kinetics. In the point kinetics, you know, the  
3 Nordheim-Fuchs Model in point kinetics allows you to  
4 relate the peak and the time of the peak to some of  
5 the simple kinetics parameters, the prompt neutron  
6 lifetime, you know, the initial reactivity insertion,  
7 the beta.

8 The thing that would cause this to be a  
9 little bit slower is the prompt neutron lifetime, see?  
10 So what you're doing here is you're saying that, you  
11 know, these are solutions with spacial kinetics, but  
12 you can take that solution and you can exactly then  
13 compute a core averaged prompt neutron lifetime.

14 And if you do that, I haven't done it, but  
15 if you do that, I suspect what you would see here is  
16 the prompt neutron lifetime is a little bit, you know,  
17 larger, so the core response is being predicted to be  
18 slower. But that's something that we should do, is  
19 compute these kinetics parameters, you know, for each  
20 of these and then compare those.

21 MR. SIEBER: The time of the peak and the  
22 height of the peak is related as much to the thermal-  
23 hydraulic properties as it is to the nuclear  
24 properties.

25 MR. DOWNAR: The height of the peak is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 very dependent upon the Doppler feedback.

2 MR. SIEBER: Right.

3 MR. DOWNAR: Exactly. And the prediction  
4 of that -- again, this event is driven solely, you  
5 know, by the fuel temperature.

6 MR. SIEBER: Right.

7 MR. DOWNAR: None of the moderator  
8 effects.

9 MR. SIEBER: It's too quick for that.

10 MR. DOWNAR: Just too quick. So you know,  
11 but what we have done in this benchmark problem is we  
12 specified, you know, the conductivity, heat capacity,  
13 so we have, you know, very carefully made sure that  
14 that is not a parameter that will be varied by the  
15 users. They are going to use that of the  
16 specifications.

17 Their solution of the conduction equation,  
18 how they do that, that could be a little bit  
19 different. But these are our three solutions, right,  
20 so we know that we have been solving the conduction  
21 equation the same way.

22 MR. SIEBER: Okay.

23 MR. DOWNAR: And that will not cause a  
24 difference, so we believe that difference is just  
25 because of a transport effect.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. SIEBER: Right. Interesting.

2 MR. DOWNAR: So very quickly, I will just  
3 go over their first application, and I think you might  
4 have seen this in the past, just showing you what we  
5 have done for the PWR and then get to the more  
6 interesting problem.

7 Three, four years ago a problem was  
8 designed in order to, you know, do a numerical  
9 benchmark of coupled codes and I think, you know,  
10 again, you're probably familiar with this, rupture of  
11 a steam line on the secondary side causes an  
12 overcooling of the primary fluid, which then leads to  
13 a positive reactivity insertion driven by this Delta  
14 T of that primary fluid.

15 This is the intact loop. This is the  
16 broken loop and this Delta T then is the driver for  
17 the positive reactivity. And of course, when you  
18 scram, the power comes down then causing positive  
19 effect from the Doppler. You're getting back, you  
20 know, the Doppler broadening scram. And then the  
21 combination of these gives you then a total  
22 reactivity. And this is a relatively slow event over  
23 100 seconds.

24 What's of interest here is what happens in  
25 the core as you start to see this reactivity rising.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 This problem was designed such that the reactivity  
2 never went to zero, never got positive. It's always  
3 negative. And they designed the problem, because  
4 we're able to, obviously, artificially adjust the  
5 worth of the control rods.

6 This was an interesting problem, because  
7 when the problem does not go back critical, you still  
8 see the power in the reactor rising. Okay? So the  
9 problem never comes back critical, but after scram the  
10 reactivity is increasing, cold water continually  
11 coming into the core and eventually, the power comes  
12 up.

13 Point kinetics would be able to predict  
14 that. Again, your core average power here could be  
15 20, 30 percent. However, we know that this event is  
16 analyzed assuming the highest worth rod is stuck out  
17 of the core. So therefore, we know that what's going  
18 to happen is that 20, 30 percent power will not be  
19 distributed symmetrically. In fact, it will be  
20 concentrated over here where this stuck rod is out of  
21 the core.

22 So we can do a simulation. This is  
23 showing you the initial steady-state condition and  
24 these are the representations of the different fuel  
25 bundles, and then this is just the time of the event.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 So you remember the event runs for 100 seconds. So  
2 now, we can just take a look at the simulation and see  
3 now the power comes up, scrams and now, the cold water  
4 going in.

5 What's interesting, you can see even  
6 though the core average power is only about 30  
7 percent, you can see relative power of the peak bundle  
8 went up to over 1. The relative power exceeded 1.  
9 And again, this is even though the core was never  
10 critical. So this is the average bundle power.  
11 Obviously, what we could also do then is reconstruct  
12 the pin power. This is one of the advantages of  
13 spacial kinetics.

14 MR. SIEBER: When you say it never went  
15 critical, but the power is increasing --

16 MR. DOWNAR: Right.

17 MR. SIEBER: -- which to me says it has to  
18 be critical during part of that transient.

19 MR. DOWNAR: It never went.

20 MR. SIEBER: Why does the power go up?

21 MR. DOWNAR: Well, there is a simple  
22 little prescription. If you go back again to, you  
23 know, the point kinetics and you use something we call  
24 the prompt jump approximation, eventually you can  
25 write an equation. Okay. So this is power.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. SIEBER: Okay.

2 MR. DOWNAR: And this is again out of the  
3 point kinetics, but you can write an equation that  
4 looks like this where this is the reactivity and, of  
5 course, this is the beta effective.

6 MR. SIEBER: Okay.

7 MR. DOWNAR: This is the K constant of the  
8 delayed neutrons.

9 MR. SIEBER: Okay.

10 MR. DOWNAR: This expression shows you  
11 that this is, though dark, I mean, this is the -- so  
12 this would be a rate, rate of change --

13 MR. SIEBER: Okay.

14 MR. DOWNAR: -- of the reactivity.

15 MR. SIEBER: Okay.

16 MR. DOWNAR: What happens is we can have  
17 this to be negative, but if this is positive, we can  
18 have a positive period. Okay? So it's possible.  
19 Physically, what's going on is, you know, we have  
20 here, this is the instantaneous reactivity. You might  
21 think of it, after we have that initial spike, we  
22 create, you know, a lot of precursors distributed  
23 around the core.

24 And they are all sitting there, right,  
25 with their own little half lives, you know, to decay,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to emitters. We have got things like bromine 87,  
2 which had a half life of about 70 seconds. So they  
3 are just sitting there, you know, waiting to emit  
4 neutrons.

5 MR. SIEBER: Okay.

6 MR. DOWNAR: They will not emit that  
7 neutron until 40, 50, 60 seconds. They will be  
8 multiplied depending upon the local conditions when  
9 they actually, you know, appear. So the  
10 multiplication of those delayed neutron sources, if  
11 you will, are going to be dependent upon, you know,  
12 the rate of change of the reactivity not just the  
13 initial precursor distribution.

14 So again, this comes out of, you know, any  
15 classical kinetics book, but it's possible that the  
16 reactivity can never be positive. But if the rate of  
17 change is positive, and that's what we saw, you know,  
18 from --

19 MR. SIEBER: Prompt, yes.

20 MR. STAUDENMEIER: This is Joe  
21 Staudenmeier. From classical static reactor analysis,  
22 there is something called subcritical multiplication.

23 MR. SIEBER: Right.

24 MR. STAUDENMEIER: And if you want to  
25 know, you take one neutron. That will turn into 1

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 over 1 minus K neutrons due to subcritical  
2 multiplication. So you're increasing K while keeping  
3 it below 1, but the multiplication on a given neutron  
4 from the source is increasing as you go through that.

5 MR. DOWNAR: So it's counterintuitive, but  
6 it's interesting. But this again, this was a  
7 numerical benchmark.

8 VICE CHAIR WALLIS: This is all because of  
9 the delayed neutrons?

10 MR. DOWNAR: Right. Exactly. So perhaps  
11 more interesting to you is the assessment of the  
12 coupled codes for BWRs, which is a lot more  
13 challenging.

14 We started out actually three years ago  
15 with doing the Peach Bottom Turbine Trip, which was an  
16 NRC sponsored coupled code benchmark. And the Peach  
17 Bottom Turbine Trip, I'm sure that you have heard  
18 about it, but it's sudden closure of a Turbine Stop  
19 Valve.

20 The pressure generated unabated into the  
21 core leads to a void collapse, a reactivity insertion.  
22 Then it's mitigated or it's eventually ended when the  
23 bypass valve opens. But what we did is we started  
24 back in '02 to do this problem with TRAC-M and PARCS,  
25 and let me just briefly show you some results from

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that.

2 What we used is a TRAC-B input deck. So  
3 it's not TRAC-B the code. This is TRACE Version 3950,  
4 but it's TRAC-B input deck, which TRACE, you know, can  
5 process. And this is the result that was published.  
6 In fact, it just came out this past October, worked on  
7 it with students. Also, I should mention I have been  
8 collaborating on all this BWR assessment work with  
9 Professor Ivanov at Penn State and his students, and  
10 then Tony Elsis from staff also worked on this with  
11 us. So with Version 3950, we got a result.

12 MR. STAUDENMEIER: Actually, it's not that  
13 base 39. There were changes made to 3950.

14 MR. DOWNAR: Right.

15 MR. STAUDENMEIER: There were special  
16 changes added into the code.

17 MR. DOWNAR: Right, right. We took some  
18 of the two phase models from TRAC-B, correct, and Tony  
19 put them into 3950. And then this is just showing you  
20 the comparison of the measured LPRM data again to  
21 TRAC-M. So the results here were pretty good.

22 CHAIRMAN RANSOM: This is presumably TRAC  
23 before you had all those improved interface drag  
24 models and all that stuff?

25 MR. STAUDENMEIER: No, it isn't. There

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 were some improvements stuck in a special version and,  
2 actually, some of them were implemented incorrectly,  
3 so that version has some errors in it, and I think  
4 there was some hand-tuning of the results that went on  
5 to get results that good.

6 MR. DOWNAR: Yes. The other part of this  
7 is that it's easier to do Peach Bottom than stability.  
8 This is very quick. This is a one, two second  
9 problem. So you know, this problem compared to what  
10 I'll show you, you know, is fairly straightforward and  
11 perhaps some of the areas in the models didn't really  
12 show up.

13 What we're doing now is going to a TRACE  
14 native input deck and you can see, you know, this is  
15 33 channels, meaning that what we did is we took the  
16 740 some odd bundles in the PARCS model and then  
17 mapped them to the 33 channels. So this model now is  
18 being used.

19 The first part of it was to just not do  
20 the coupled problem, just used a fixed power  
21 distribution versus time in the TRACE. Okay. So this  
22 is TRACE stand alone and this was Version 4068. And  
23 again, in this model we have also added, let's see,  
24 I'm trying to remember, but I think 4068, we added, I  
25 think, to this one the wall drag model from TRAC-B.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. STAUDENMEIER: And the interfacial.  
2 Yes, the interfacial and the wall drag has been  
3 changed over the base version and, actually, those  
4 changes will be going into code release that will soon  
5 happen, so it will be the base version of the code  
6 soon.

7 VICE CHAIR WALLIS: Now, what is this  
8 here? This is one code versus another code? Is that  
9 what this is?

10 MR. STAUDENMEIER: No.

11 MR. DOWNAR: This is actual experimental  
12 data. I'm sorry, I didn't show the legend.

13 MR. SIEBER: Right.

14 MR. DOWNAR: But this is the actual.

15 VICE CHAIR WALLIS: That's an experiment?

16 MR. DOWNAR: Yes. This is actually the  
17 measured data from Peach Bottom.

18 VICE CHAIR WALLIS: A large transient  
19 test.

20 MR. STAUDENMEIER: It's a real reactor.  
21 They instrumented it.

22 VICE CHAIR WALLIS: Are we required to  
23 trail the --

24 MR. SIEBER: No, we don't have to.

25 MR. DOWNAR: And this is just showing the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 power pulse. And again, this is from a version. This  
2 is coupled TRACE and PARCS. This one, again I didn't  
3 show it here, but this is from Version 4111, you know,  
4 and what we have in this version again is the TRAC-B  
5 wall drag model.

6 Now, the idea here was for us to be able  
7 to set up these models and to foresee with doing some  
8 of this analysis. Even though we knew that, you know,  
9 some of the models in TRACE would continue to change,  
10 we wanted to have, you know, the input decks, all of  
11 the methodology there. So now when the new wall drag  
12 model, the new models appear, we're ready and all we  
13 have to do then is run them.

14 The more challenging problem has been  
15 stability. A very well-instrumented set of data was  
16 Ringhals. This was a benchmark and it was actually  
17 started back in the early '90s and it's a Swedish BWR.  
18 Over cycles 14, 15, 16 and 17 they performed, you  
19 know, several tests, I think a total of 41 tests.

20 And what we did is chose two points, as I  
21 mentioned earlier, because we wanted to look at one  
22 point that was dominated by in-phase, so point 10, you  
23 can see the decay ratio .71, the regional decay ratio,  
24 .63. So we wanted to run one point where the global  
25 dominates and then another point, .9, where the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 regional dominates, .99.

2 And so these two points we have attacked  
3 initially. We started this about a year and a half  
4 ago and it has taken us until now really just to get  
5 this guy. And again, I will show you preliminary  
6 results. But more importantly, as I'll show you, the  
7 methodology is there. The machinery is there and I  
8 will explain in a minute what I mean by that. But  
9 .10, the in-phase, is the one we're tackling.

10 The Ringhals core is quite a bit different  
11 than the Peach Bottom core and in that sense it  
12 provides a good core to be assessed by TRACE/PARCS.  
13 Ringhals, it's an ABB design. This about 2,200  
14 megawatts thermal. Peach Bottom is a GE4, about  
15 3,200, 3,300 megawatts thermal. This is smaller,  
16 obviously, about 640 some bundles. This is larger.  
17 This one has the internal jet pumps. So there's  
18 sufficient differences that they provide, I think, you  
19 know, a reasonably good tool to assess TRACE/PARCS.  
20 And then obviously, also, both of them are plant data.

21 So initially, we just took a fixed power  
22 distribution, put it into just initial mapping where  
23 there were 20 channels and this was, again, trying to  
24 first just assess the Ringhals TRACE Model without  
25 being coupled to PARCS, and you can see from

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 comparison here that results are pretty good.  
2 Actually, Claudio Delfino, I think, did this work when  
3 he was still at Penn State a couple years ago.

4 MR. SIEBER: That, I suppose, is to me  
5 almost unbelievable. I mean, it's right on top of --

6 MR. DOWNAR: Yes. So this is core  
7 averaged.

8 MR. SIEBER: Yes.

9 MR. DOWNAR: So the distribution, you will  
10 see some of the distributions are not -- so that was  
11 just to look at the TRACE Model.

12 Then we wanted to assess the PARCS model,  
13 because here what we're talking about is a pretty  
14 sophisticated cross section library in order to model  
15 this core, and we wanted to make sure that we were  
16 processing the library correctly and we also wanted to  
17 get a feel for the accuracy of the PARCS solution.

18 So what we compared this to, their core  
19 simulator, when I say experimental that means it's  
20 their core simulator from Ringhals, and we input the  
21 temperature density from their core simulator into  
22 PARCS node-wise, so we wrote a processor to take that  
23 information for all the 600 and some nodes times 24 or  
24 whatever that number is. So we processed that into  
25 PARCS and then we compare, you know, the power

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 distributions as well as the node-wise power.

2 So this gave us confidence that stand  
3 alone PARCS was correct and then stand alone TRACE was  
4 correct. Then the problem really became now trying to  
5 come up with a model that we could use to analyze the  
6 transient. This is where the issue now of how many  
7 channels do we need in order to do this? Initially,  
8 we used 20 channels. This was the initial model that  
9 I showed you with the fixed power distribution.

10 A Japanese researcher named Hotta was the  
11 one who came up with this initial design. On the next  
12 slide you can see this is how he came up with these 20  
13 channels. He was interested in modeling this  
14 harmonic, .9 there's an azimuthal harmonic. So  
15 knowing the harmonic, he decided what he would do is  
16 he would then choose the mapping of his neutronics  
17 nodes, every one of these is obviously neutronics  
18 nodes, at two, in this case 20, you can see it starts  
19 from 11 and goes to 30, would map to the thermal-  
20 hydraulics using this distribution.

21 VICE CHAIR WALLIS: If you know the  
22 harmonics, and you do, I presume.

23 MR. DOWNAR: From the steady-state  
24 solution --

25 VICE CHAIR WALLIS: If you don't --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. DOWNAR: If you don't, you're out of  
2 luck. You're right.

3 VICE CHAIR WALLIS: Right. And you have  
4 to have many more channels.

5 MR. DOWNAR: Right. So that's the real  
6 problem with this mapping. A priori, you have to  
7 know.

8 VICE CHAIR WALLIS: Know the answer.

9 MR. DOWNAR: You have to know the answer,  
10 which makes no sense. So therefore, we began looking  
11 at mappings that were using a more fuel property-  
12 based, geometric-based mapping. So we started out  
13 with 128 and kept adding fidelity. We needed to model  
14 each one of the bundles different because of their  
15 orificing.

16 We made it to 486 channels where here  
17 every channel had its -- every neutronics channel had  
18 its own thermal-hydraulics channel, except for the  
19 core periphery, I should have that here, except for  
20 the core periphery, so we modeled all the periphery  
21 into the same channel, because they would be orificed  
22 similarly.

23 Finally, 645, you just say forget it. Do  
24 one to one. So this slide here I just showed you,  
25 this is the 204 channel mapping, and you can see we're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 mapping sectors. 486 channels, now we're grouping,  
2 and you can see where this is going, is that you want  
3 to try to, you know, increase the number of thermal-  
4 hydraulics channels, but your tradeoff is going to be  
5 computational time, memory and computational time.

6 VICE CHAIR WALLIS: Does this get the same  
7 answer then?

8 MR. DOWNAR: No, it doesn't. I will show  
9 you two slides. I will show you that. First, I will  
10 just show you what happens to your computational time.  
11 This is showing you the initialization and this is for  
12 .10, so we're just running a 1,000 second null  
13 transient, just the null transient and using a PC and  
14 this is Version 4.036.

15 So we start out with 204 channels and we  
16 eventually then get all the way to one to one mapping  
17 here. This is the runtime of PARCS. This is the  
18 runtime of TRACE. And you can see what happens.  
19 Initially, you know, PARCS is taking, you know, quite  
20 a bit more time, because what we are doing is modeling  
21 every individual node, right, whereas here we just  
22 have 204 channels.

23 We increase pretty much asymptotically,  
24 because we're still solving the same problem  
25 regardless of what TRACE is doing. Our runtime is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 increasing because what's happening, we're having to  
2 process more information as we increase the fidelity  
3 of TRACE. Now, we have to process more node-wise, if  
4 you will, quantities, right? We're getting more  
5 temperature fluid information back.

6 TRACE increases pretty much exponentially  
7 because, you know, John would know better than I, but  
8 I think what's happening here is the linear solver,  
9 right, we're going as  $n$  squared,  $n$  is the number of  
10 channels, so you expect this to be increasing. So you  
11 can see eventually, we get out here to one to one  
12 mapping and it's almost a break even.

13 But there is some good information on the  
14 slide, because it's giving you a feel for how much  
15 time does it take to initialize, and initialization is  
16 the most important or the most time consuming thing  
17 and, I guess, most important. It's taking you here  
18 about, you know, six, seven hours to initialize,  
19 because this is a converged solution. We're about 10  
20 to the minus 4<sup>th</sup> in the vapor velocity converged here.  
21 And you can see that out there at the larger problem,  
22 you know, you're up over, you're up close to 17, 18  
23 hours.

24 Now, I should point out that this is with  
25 Version 4.036. What we have found is interesting.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Back then we weren't getting very good decay ratios.  
2 Our decay ratio predictions were about .4, .5. The  
3 interesting thing is as our decay ratios have gotten  
4 closer to the experimental values, about .7. It's  
5 taking longer for us just to initialize and that kind  
6 of makes sense, right, because as the core becomes  
7 less stable, it's going to take a longer null  
8 transient in order for a lot of those perturbations to  
9 settle out. So now, you know, the runtimes to  
10 converge are actually maybe 50 percent higher than  
11 this, so it's taking us now, you know, about eight  
12 hours, nine hours to initialize.

13 I will show you some results for the in-  
14 phase oscillation. We're using the 204 channel model.  
15 Okay. We find that, you know, this is accurate enough  
16 for the in-phase. For the out of phase, we'll  
17 probably have to, you know, head over there.

18 So now, the question is in terms of  
19 accuracy. What we're showing here is the axial power  
20 profile and then just showing here the RMS value for  
21 the axially integrated radio power distribution for  
22 204, 486 and 648 channels. And what you'll notice is  
23 that, you know, this is their core simulator, Sim-3K.  
24 What you will notice is we go from 204 to 486, we see,  
25 you know, a nice increase in the accuracy. But we go

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 from here to here, it doesn't improve much.

2 So again, what we have chosen to do for  
3 the in-phase is to stay here, okay, just because of  
4 runtime considerations. Eventually, what we will  
5 obviously want to do is run the final solution down  
6 here. So does that answer your question?

7 VICE CHAIR WALLIS: So it does sort of  
8 converge?

9 MR. DOWNAR: Yes, yes, it does seem to  
10 converge.

11 VICE CHAIR WALLIS: And Sim-3K is the  
12 right answer?

13 MR. DOWNAR: We're using that as a reality  
14 check. Obviously, the right answer is the LPRM data  
15 and, you know, we have not compared to the LPRM data  
16 yet, but that's the right answer.

17 And this just shows you how the runtime  
18 within PARCS breaks down. This is the 204 channel.  
19 You know, we're spending a lot of time processing  
20 cross sections. CMFD, this is the course mesh  
21 solution. One of the nice features of PARCS is this  
22 nodal solver. That's the actual high order solution.  
23 We only do the high order solution when, you know, the  
24 accuracy requires it, in other words when something is  
25 significantly changing in the core. Otherwise, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 finite difference solution is adequate. But that's  
2 just giving you a breakdown of the PARCS runtimes.

3 So now, the real proof, if you will, is in  
4 the ability of this model to do an actual stability  
5 simulation. In order to do that, we had to do some  
6 things with the model. One of them was to use a  
7 variable axial nodalization. We're using semi-  
8 implicit numerics and John will talk more about this,  
9 why we're doing this. But we use the variable axial  
10 nodalization in order to minimize the numerical  
11 diffusion. We want to run with the CFL close to 1.  
12 So in order to do that, we increase the node size as  
13 we get higher up the core.

14 To initiate the instability, this is  
15 interesting, because most of the participants in this  
16 benchmark, they will move the control rod to start the  
17 instability and I will show you, you know, results  
18 with that, because that's what we did initially also.

19 However, we wanted to be able to start the  
20 instability, you know, with other methods. We wanted  
21 to do a pressure perturbation, change the pressure out  
22 there, you know, at the end of the steam line and let  
23 that propagate into the core. But more importantly,  
24 we wanted to be able to do this experiment the same  
25 way that they did it at Ringhals, which is basically

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 noise analysis. They just looked at noise and from  
2 that extracted the decay ratios and the frequencies.

3 So one of the things we did with PARCS is  
4 we introduced noise into PARCS and did the problem  
5 that way. The logic here is obvious, that if you can  
6 initiate the instability three different ways and get  
7 similar answers, that's going to give you confidence  
8 that your solution is not dependent upon how you're  
9 starting the instability.

10 The other thing is post-processing. Decay  
11 ratio, obviously one of the possibilities is you just  
12 look at the amplitude, you know, of the oscillation  
13 and pick off from that, from successive peaks, pick  
14 off from that the decay ratio. A more precise method  
15 is to use Auto Regressive Moving Average technique and  
16 we'll show you results from this.

17 What we did is we developed a set of post-  
18 processing tools at Purdue and our colleagues at Penn  
19 State did also, so we both have then post-processing  
20 capabilities and we run them independently with the  
21 output to make sure that, again, it's not dependent  
22 upon this. So that is kind of the methodology that  
23 Joe spoke of.

24 All of this machinery, you want to have it  
25 in place and once there is a change in the code, all

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of this machinery is there already to be able to then  
2 look at, you know, how the --

3 CHAIRMAN RANSOM: Have you ever used the  
4 fast 480 transforms to look at the decay ratio and  
5 frequency?

6 MR. DOWNAR: Not to my knowledge. No, I  
7 don't think we have.

8 CHAIRMAN RANSOM: Of course, and what did  
9 you mean by noise analysis? Is that --

10 MR. DOWNAR: I will show you in a second.

11 CHAIRMAN RANSOM: -- neutronics?

12 MR. DOWNAR: What we do is we introduce  
13 random noise into PARCS using the moderator density  
14 variable. We're not physically changing the thermal-  
15 hydraulics conditions. We're just introducing noise  
16 that, basically, will try to reproduce what was going  
17 on in the plant. I will show you that in just a  
18 second.

19 So this is the first solution. I  
20 shouldn't say the first solution. Over the last years  
21 there have been many solutions, but this is using the  
22 control rod perturbation with, again, Version 4111m1  
23 and when I say mod 1, this is the 4111 with the wall  
24 drag model from TRAC-B because, again, as the TRACE  
25 wall drag model has been changing, we still wanted to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 be able to continue our work, so we use the TRAC-B  
2 wall drag model.

3 So initially, we run just a null transient  
4 for the first 10 seconds. We have initialized the  
5 core, so we have run the 1,000, 1,500 second null  
6 transient. We now restart and then when we restart,  
7 we go for 10 seconds. Now, what we do right here then  
8 is, as you're looking at the map, in the lower south  
9 center region, we move a control rod in and out. We  
10 do that in less than .2 seconds and the worth of that  
11 rod, it turns out, is about .60 cents.

12 So we create a perturbation in the core,  
13 and then watch what happens. And you can see that  
14 we're getting here then -- this is the power and you  
15 can see that we're getting a decay ratio prediction  
16 here of about .7 and a frequency of about .56. And  
17 then using the ARMA post-processing code, this 30 and  
18 50, these are just different order FITs, if you will,  
19 and it's giving similar answers.

20 That compares then to the final report,  
21 the measured values close on the decay ratio, but the  
22 frequency, we over-predict the frequency a little bit.  
23 In the final report, it has reported the uncertainty  
24 in the decay ratio to be about, oh, .05. And these  
25 uncertainties are really about this ability to extract

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 from the actual noise the decay ratio, because the  
2 actual event, again, is just processing this noise  
3 using auto regressive methods. And so therefore, the  
4 authors of the benchmark problems indicated the  
5 uncertainty would be between 5 to 10 percent as I  
6 showed you.

7           Therefore, what we felt would be  
8 appropriate is for us to actually, you know, reproduce  
9 the event as best we could using PARCS. And in order  
10 to perform noise analysis, the cross sections are  
11 perturbed by changing the moderator density, and this  
12 change is only for the cross section evaluation. The  
13 real thermal-hydraulic properties are not changed.

14           And when you make this change, you  
15 basically are introducing, you know, into the core a  
16 perturbation that will be based upon, a priori, you  
17 know, knowledge of the fundamental mode, of the power  
18 distribution. But also what you want to do is  
19 generate random background noise, so there's a random  
20 number generator that also generates or contributes to  
21 the noise.

22           So you put this into PARCS and we chose  
23 the amplitude and the frequencies based upon what we  
24 observed from the actual data, the Ringhals data. The  
25 actual Ringhals data was in the range of .01 to 1

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 hertz. Okay. And you can see this is the PARCS noise  
2 simulation, again running a null transient for 5  
3 seconds then generating noise at these amplitudes.

4 Now, just using ARMA to process that data,  
5 and again this is Version 4111m1, so this is TRACE  
6 with the TRAC-B wall drag model and the decay ratios  
7 are .668, .67. So they are a little bit under-  
8 predicted. And the frequencies, again, a little over-  
9 predicted from the actual values.

10 So I guess that's where we are, you know,  
11 with the stability. The plan is to continue this work  
12 and now in Version 4150, there is a new wall drag  
13 model. So that wall drag model will be used and the  
14 work would proceed. We have not tackled .9. We did  
15 some preliminary initialization, but we'll do .9,  
16 begin to try to look at results for the out of phase  
17 oscillation.

18 So I thought what I would do is finish up  
19 with some slides looking at, very briefly,  
20 modifications we made for advanced fuel types, but  
21 then showing you a few slides about the ACR-700. The  
22 conventional BWR designs that we have been looking at,  
23 the 8x8 GE design, have not had large, internal water  
24 holes.

25 Large, internal water holes now introduce

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 an additional complexity, because in addition to  
2 having an external bypass region, now there is this  
3 internal water region, so there is some question when  
4 you begin to bring a water density into your feedback  
5 model, how do you weigh, if you will, the water  
6 density around the fuel rods, this water density and  
7 the water density in the channels?

8           You want to make sure that you're getting  
9 appropriate feedback. This is true of also the  
10 ATRIUM-10 fuel design having a large water region in  
11 here as well as the SVEA design. So you know,  
12 basically, it's a minor modification, but it's  
13 something that NRR requested and we now then, again,  
14 treat separately the water region internally and then  
15 the water region external to the can in order to get  
16 the density that is passed from TRACE to PARCS to then  
17 be the feedback into the cross sections.

18           We have also made modifications to PARCS  
19 to be able to model the ACR-700. As you can see, I  
20 mean, we're looking at a core that's, you know, very  
21 different from those that we have analyzed in the past  
22 when it comes to the reactivity control devices. They  
23 are coming in from the side and, you know, this is  
24 really, you know, something that we have to make  
25 modifications to the neutronics in order to do this.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 We also have to make modifications to the cross  
2 section model, so I will just briefly walk you through  
3 some of those.

4           Again, as I mentioned, the control rods in  
5 the PWR, you know, moving in vertically, but you're  
6 seeing very different movement of control devices and  
7 this requires us to rethink the logic by which we  
8 perturb, you know, the cross sections in the core.  
9 They have also something that are referred to as Zone  
10 Control Units in the ACR. These are units that are  
11 sitting there in the core during the depletion and  
12 these Zone Control Units again are coming in from the  
13 sides, we do have to model these.

14           So there's several unique things about the  
15 ACR that have required us to make changes. We have,  
16 you know, had to make our cross section model much  
17 more sophisticated, if you will. We have to treat  
18 many more feedback variables. The conventional model  
19 that we have had for light water reactors has just had  
20 five variables.

21           For the ACR now we have had to add a  
22 feedback variable for cooling impurities, for  
23 moderator density, because now what we're looking at  
24 is the moderator and the coolant are separate. The  
25 coolant is light water. The moderator is heavy water

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and we have to be able to treat those as separate  
2 variables. So moderator density, moderator  
3 temperature, impurities in the moderator, different  
4 soluble poisons in the moderator.

5 But this 12<sup>th</sup> and 13<sup>th</sup> ones are the most  
6 interesting, because what became clear last year was  
7 that the neutronics problem for the ACR is  
8 considerably more sophisticated and complex than  
9 anything that we have tackled for the light water  
10 reactor.

11 Specifically, what's interesting, by now  
12 I think you might have heard about this "checkerboard"  
13 voiding in the ACR. Here I'm showing a 2x2 array of  
14 fuel bundles and you're seeing here this is the  
15 CANFLEX design and this is the central pin, which has  
16 dysprosium and then you have rings of pins, slightly  
17 enriched uranium.

18 And what has happened is that it has  
19 become clear that if you voided two channels in a  
20 checkerboard configuration and kept these two channels  
21 cool, you get a coolant void reactivity that is  
22 different than if you entirely void the configuration.  
23 So this negative coolant void reactivity, in fact, is  
24 positive for practical scenarios that would show up if  
25 you get a header break, because you have half of your

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 bundles being cooled in one direction and half in the  
2 other direction.

3           What this does is this complicates the  
4 modeling from a neutronics standpoint, because if you  
5 go back and you remember that two-step method, what we  
6 would normally do is we would take one bundle, isolate  
7 it, put zero current boundary conditions on it, right,  
8 then homogenize cross sections. We would want to take  
9 that bundle then into the core, right, and show it a  
10 boundary condition now that is very different. That  
11 gets exacerbated by the voiding problem, because if  
12 you void one of these channels, the boundary that this  
13 bundle sees, if you assumed over here it was cooled,  
14 is very different and that led to significant sources  
15 of error.

16           So what we have done is, in collaboration  
17 with staff, Don Carlson, we have come up with models  
18 to treat this where what we're doing now is we're  
19 adding the complexity where you don't just look at the  
20 properties of the individual node itself. Now, you  
21 have to see who's next to you and then based on who's  
22 next to you, you then add an additional perturbation  
23 to the cross section.

24           So in PARCS never before when we did  
25 feedback have we cared who's -- all you care about is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the properties of the node itself. Now, you have to  
2 look next door and then, based on who's next to you,  
3 you process the cross sections.

4 This, I'm just showing you the complexity  
5 has increased, because now when we generate cross  
6 sections, we have to generate a matrix of cases for  
7 all of these possibilities of who's next to you. You  
8 run a 2x1 where the other guy, right, has to be an  
9 assembly that voided 75, 50, 25, right? The node  
10 itself is 75 and then that combination next to it. We  
11 also do this for various burnup states. The point  
12 being here is that the library that we have to carry  
13 now in order to analyze the ACR increases in  
14 complexity significantly. So that's the object of  
15 that slide.

16 ISL has developed a TRACE Model of the ACR  
17 and here you can see this is the core itself down here  
18 where there's 284 channels. 142 are being fed by this  
19 header, 142 by the other header, so if there is a  
20 header break, half of the channels will be voided.  
21 The other half would still be cooled at least for a  
22 few seconds, so the checkerboard configuration, in  
23 fact, is real.

24 And then so the PARCS model would look  
25 like this and we would be mapping PARCS into TRACE.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 So this work has progressed and the coupling of the  
2 models should be ready by next month.

3 VICE CHAIR WALLIS: You don't have the  
4 answer yet? No answer yet?

5 MR. DOWNAR: No answer, no answer yet, no.  
6 We have got the cross section model set up. We have  
7 the TRACE Model set up and now it's a question of --  
8 and we're working again with staff in order to come up  
9 with the scenarios on this.

10 MR. SIEBER: Doesn't sound like it will be  
11 a good answer.

12 MR. DOWNAR: No, I think there's going to  
13 be --

14 MR. SIEBER: Could be a wild transient.

15 MR. DOWNAR: Yes. It should look a little  
16 bit like, you know, what we have been seeing in the  
17 turbine trip. You're going to have a power pulse.

18 MR. SIEBER: Right.

19 MR. DOWNAR: That will then be turned  
20 around.

21 MR. FORD: But presumably AECL have got  
22 their own model and you know of that model. I'm  
23 assuming that's true. How does it differ from this?

24 MR. DOWNAR: Well, I --

25 MR. FORD: In terms of physics, in terms

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of --

2 MR. DOWNAR: If I could have Don maybe to  
3 talk about what AECL has. I'm not sure. I have not  
4 been talking with AECL about their model. I have  
5 their reports, but I have not, you know, looked  
6 closely at how they are tackling this checkerboard  
7 voiding scenario.

8 MR. FORD: So it comes down at the end of  
9 the day, which is correct.

10 MR. DOWNAR: Yes.

11 MR. FORD: Is that not true, against  
12 observation?

13 MR. CARLSON: Yes. This is Don Carlson in  
14 Research. AECL has their own suite of codes that they  
15 have evolved in the past for analyzing conventional  
16 CANDUs and, as it turns out, the zero current boundary  
17 condition, the simple methods, relatively simple  
18 methods that we have used for light water reactors are  
19 a lot like what they were able to use for conventional  
20 CANDUs.

21 The move to the ACR has given them  
22 significantly different physics and they ran into the  
23 same kinds of problems that Tom has described here,  
24 and they are doing different things to address it.  
25 They seem to recognize the problems and it's a work in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 progress as to, you know, what exactly they are doing  
2 to address it. But yes, they have to evolve their  
3 methods much like Tom has had to evolve his.

4 MR. FORD: Good. They must be  
5 considerably further advanced than we are in their  
6 methods, no?

7 MR. CARLSON: No.

8 MR. DOWNAR: No.

9 MR. CARLSON: Certainly not.

10 MR. DOWNAR: So finally, just a couple  
11 more slides, some things again that show what we're  
12 doing. We have completed our Theory Users Manual. We  
13 update those as we have come up with new versions.  
14 We're working on a Programmers Manual. We're trying  
15 to chip into the CPU time, cross section processing,  
16 coupling. TRITON is complete. We're looking to  
17 couple to a commercial code. So these are some other  
18 things.

19 I have mentioned that we have a user base.  
20 This is just giving you a snapshot of who they are.  
21 We're actually over 50 now. I didn't update this  
22 slide, but we have got some more users, some in  
23 Europe, some laboratories, and they communicate with  
24 us through our website. And we have a listserv  
25 mailing list, so anyone that wants to participate in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that is then disseminated all of the information on  
2 the latest updates from PARCS on our website.

3 VICE CHAIR WALLIS: When you say you have  
4 45 members, are they actively doing work or are they  
5 just sort of listening to what you're doing?

6 MR. DOWNAR: They are actively doing --  
7 many of them are actively doing work. We get a lot of  
8 questions that are only coming from people that are  
9 actually doing work, because they find bugs. They  
10 find problems, you know.

11 MR. SIEBER: What's Armenia doing?

12 MR. DOWNAR: I'm sorry?

13 MR. SIEBER: Do they run plants?

14 MR. DOWNAR: Who?

15 MR. SIEBER: Armenia.

16 MR. DOWNAR: Actually, yes, they have  
17 VVER.

18 MR. SIEBER: Oh, okay.

19 MR. DOWNAR: Yes, Brookhaven Lab did some  
20 training of the Armenians with RELAP/PARCS.

21 MR. SIEBER: Oh, okay.

22 MR. DOWNAR: So they have got VVER 440.  
23 But there is quite a bit of work going on out there  
24 with PARCS coupled to RELAP and with TRACE. Any other  
25 questions?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RANSOM: Well, thank you, Tom.

2 MR. SIEBER: Yes, great presentation.

3 CHAIRMAN RANSOM: Looks like you got us  
4 back on schedule.

5 MR. DOWNAR: Well, John was chomping at  
6 the bit over there.

7 CHAIRMAN RANSOM: Well, we can take a  
8 break until 3:15.

9 MR. SIEBER: Great presentation.

10 CHAIRMAN RANSOM: And start back with John  
11 on schedule.

12 (Whereupon, at 2:58 p.m. a recess until  
13 3:16 p.m.)

14 CHAIRMAN RANSOM: Okay. We're ready to  
15 start. The next speaker is Professor Mahaffy from  
16 Penn State. I think, I guess, responding a lot to  
17 some of the anonymous letters that we received here,  
18 I don't know that anybody here has really analyzed  
19 those, so I hope you will explain to us what it was  
20 all about, and I guess what the concern was and  
21 whatever resolution there is of it.

22 MR. MAHAFFY: Well, I had assumed that you  
23 paid attention to letters to that and you were ready  
24 to ask me questions. But before I go into my prepared  
25 material, I would like to pick up on something that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 came up this morning in the beginning. The question  
2 was asked what is taking so long with this TRACE  
3 development. And as somebody who has been at it from  
4 the beginning, the beginning, in fact, dating back to  
5 when you, Rick and I were sitting on an Advisory  
6 Committee with Farouk, a very long time ago.

7 VICE CHAIR WALLIS: Is this where we tried  
8 to persuade him to develop a new code instead of  
9 pulling together these old ones?

10 MR. MAHAFFY: Well, in fact, if you really  
11 take a serious look at it, it is a new code now.

12 VICE CHAIR WALLIS: Oh.

13 MR. MAHAFFY: And, you know, that's a side  
14 topic that we can talk about for an instant. But if  
15 you look at what was really laid down, there was a two  
16 stage process with what has become known as TRACE.  
17 There was the consolidation effort and the guidelines  
18 that were given initially on consolidation was that  
19 this product would capture all the capabilities of the  
20 predecessor codes, which have been named.

21 VICE CHAIR WALLIS: Yes.

22 MR. MAHAFFY: And when it was done, it  
23 would perform as well or better than any of the  
24 predecessors. Those were the basic guidelines in a  
25 nutshell.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   VICE CHAIR WALLIS: Are you talking about  
2 the breeding of two dinosaurs will only produce  
3 another dinosaur?

4                   MR. MAHAFFY: Yes. And this is stage two  
5 now.

6                   VICE CHAIR WALLIS: Right.

7                   MR. MAHAFFY: Okay. Stage two is now that  
8 you have something that is manageable, you move on to  
9 advanced development and produce things that answer  
10 concerns that have been raised by you, Graham, and Vic  
11 and lots of other people in the past to try to improve  
12 your capabilities.

13                   In terms of delays of the process, you've  
14 seen some of them discussed already, and I identify  
15 really three of them. If you wanted to say okay,  
16 well, they promised this and this done in X number of  
17 years and now it's Y number of years out, the first  
18 big thing that really introduced extra time and  
19 development effort was the change in the statement  
20 about capturing capabilities, and that was a rigorous  
21 card for card ability to reproduce RELAP5 input, but  
22 the TRAC-B actually got added on later on, too.

23                   That, as was indicated, took time.  
24 Another key item that has been hinted at is the  
25 question of physical model development. When we talk

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 about original technology, the original plan was the  
2 kind of mating of dinosaurs that you were talking  
3 about. There would be a process by which we would go  
4 through and extract the physical models from the  
5 predecessor curves that we designated to be the best  
6 of those available and plug them into this code.

7 Now, NRC, and I believe driven by Joe  
8 Kelly as much as anyone else, wisely decided at some  
9 point let's not do that. Okay. Up front I made a  
10 list of models that we could pull out of RELAP5 and I  
11 think my list probably aligned with anything Joe Kelly  
12 would have said also, and just be there. But what Joe  
13 did instead was said all right, and he has given the  
14 presentations to you, here are the failings that are  
15 there. Let's just move forward, rather than doing an  
16 intermediate step, and we get product after product  
17 out of Joe.

18 And what you are really seeing now is a  
19 blending there of the consolidation effort that was  
20 talked about as the original goal of TRACE and the  
21 advance development effort that moves forward.

22 VICE CHAIR WALLIS: It's hardly vast  
23 development. A lot of it is fixing up some of the  
24 real weaknesses in that.

25 MR. MAHAFFY: I understand that, but it is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 advanced relative to any of the predecessor dinosaurs.  
2 Okay. We're pushing the state of the technology past  
3 where it has ever been before. Okay.

4 VICE CHAIR WALLIS: As he showed us this  
5 morning some of the predictions from the original TRAC  
6 film thickness and that seemed to be way off.

7 MR. MAHAFFY: But he put certain proviso  
8 in there, but you always have to remember and that is  
9 the scope of these codes. NRC has never claimed that  
10 TRAC was anything other than their large break LOCA  
11 Code. Okay. And that drove the selection of models  
12 and the funding by the NRC for the extent of the model  
13 development. RELAP5 had a different set of  
14 transients, so it was supposed to analyze. And Vic  
15 could talk about that better than I can, but once you  
16 get into things beyond large break LOCA, your  
17 capabilities in terms of the details of some of these  
18 models have got to be much more advanced.

19 And I know I was involved in some of the  
20 oversight of the AP-600 qualification RELAP5 and there  
21 was a lot of very good work that went into looking at  
22 how it was assessing them and getting them into that  
23 code. So you've got two different paths there. And  
24 they said if all we were doing was consolidation and  
25 it were a fixed goal, we would have grabbed a whole

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 lot of models straight out of RELAP5, shoved them into  
2 this product as is and we would have met the stated  
3 goals up front.

4 But a different path was followed and I  
5 will tell you four years ago, I think, I publicly made  
6 a statement, and it may have been in this particular  
7 venue, that really we didn't call it TRACE then, TRAC-  
8 M, whatever we called it, had achieved the goal of all  
9 the capabilities of all the predecessor codes. The  
10 capabilities were there. Whether they were fully  
11 tuned up or not is another question, as you saw with  
12 the model issues.

13 At this point in time, I mean, we have not  
14 done a full set of assessment, obviously. Joe  
15 Staudenmeier can say more intelligent things, I think,  
16 than I can about this. But based on the assessment  
17 problems I have seen, I've done, I've seen presented,  
18 this code is going to do on the whole a better job  
19 than any of the predecessors in matching a reasonable  
20 assessment base. Would you agree with that, at this  
21 point?

22 MR. STAUDENMEIER: Yes, I think on a wide  
23 scope assessment.

24 MR. MAHAFFY: Yes. I believe you will  
25 find specific assessment problems where say RELAP5

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 would still do better. But if you took the broad  
2 scope, we're in the game now, and there's certain  
3 things it can do that people couldn't do before. So  
4 I've identified two items that have stretched things  
5 out. Okay. The strict compatibility with input.  
6 This blending of the consolidation and the advanced  
7 development work and that blending transitions into  
8 other things.

9           Okay. I've been working on advanced  
10 numerical methods. There was some parallel  
11 capabilities we put in. There is a list of these  
12 things. But then there is number three, and again Joe  
13 handed this, and you don't want to under-rate this,  
14 this has to do with digressions. Okay. To the credit  
15 of the NRC, and I've been in the code development  
16 business for a very long time now and seen a lot of  
17 development teams. The NRC has put together  
18 internally a first rate development team. Very, very  
19 good people involved in this.

20           But that's a double edged sword. Okay.  
21 They can do great development work for you, but if you  
22 are an NRC manager, and NRC is a very busy  
23 organization with a lot of things to do, okay, you've  
24 got a mission critical task you've got to get done.  
25 You've got a task that's got a lot of wide visibility.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 What you want to do is get your very best people  
2 working on these particular little items. And where  
3 are your very best people? They are sitting on that  
4 development team and so they get pulled off to do  
5 various odds and ends that have nothing to do with  
6 development.

7 That has a double impact, okay. Impact  
8 number one is the large chunks of time for people, you  
9 know. As was said, Chris Murray got dragged off to do  
10 a very important thing, computer security, you can't  
11 neglect that, and this happened, I think, to everybody  
12 on the development team within the NRC. Just the base  
13 time you've lost, but there is another thing that you  
14 don't normally think about and in co-development,  
15 you've got to be focused.

16 You know about this Vic, having worked  
17 with RELAP5, you get on a roll. Now, you're moving  
18 forward on a very intensive task and you get pulled  
19 away from that, the recovery time is a difficult  
20 problem also. You don't simply lose the time that you  
21 were allocated to another task. You lose more time  
22 than that, because you have to recover to that swing  
23 of work, that pattern you are in and that's a problem.

24 CHAIRMAN RANSOM: Well, is that a problem  
25 only with the NRC people or has that been a problem

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 with yourself and other contractors?

2 MR. MAHAFFY: Outside the NRC, it's a  
3 problem to the extent that people are not fully  
4 funded. Okay. The ISL people move from one task to  
5 another. I'm only paid half-time and there is a  
6 period of time where I was devoting full-time to this  
7 job and now I'm down to half-time. And when you are  
8 not, you know, just two or three weeks straight  
9 working on a specific task, you don't do it as  
10 efficiently as you could have. So that is an issue.

11 But within the NRC, I mean, that's where  
12 your critical core of developers is and that's  
13 probably where you see the biggest impact. It's a  
14 different developing technique. One thing I know you  
15 were concerned about, Vic, was the impact to the fact  
16 that it's a disbursed development operation. And, you  
17 know, I've worked in both modes now, okay, and you  
18 certainly have seen the concentrated mode of RELAP5.  
19 We had the same thing with TRAC.

20 I was very pleasantly surprised by the way  
21 the distributed effort has worked here. The  
22 coordination that the NRC has provided for the  
23 development team has been excellent. The process by  
24 which, you know, they work with information disbursal  
25 through this website, people talk to each other on a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 regular basis, I haven't seen any degradation in terms  
2 of unit cohesiveness here versus what we had in the  
3 old TRAC Project. I don't think that's a particular  
4 issue.

5 In fact, it's better now than it was then,  
6 because people have learned a lot of lessons about how  
7 you manage a large project. They have been  
8 implemented rather well within the NRC.

9 Are there any other questions on this  
10 particular item?

11 CHAIRMAN RANSOM: Well, one that I don't  
12 expect you to answer it today, but I think it is  
13 certainly of interest as they move towards risk-  
14 informed regulation and use of these tools, is what is  
15 the uncertainty associated with things like numerical  
16 methods, one dimensional approximations?

17 MR. MAHAFFY: Yes.

18 CHAIRMAN RANSOM: You know, things that  
19 this thing can never be perfect, so it would be nice  
20 to know what is the uncertainty that is associated  
21 with methods like this? And hopefully in time, in a  
22 sort of generic way, so that you can bound, you know,  
23 the results.

24 MR. MAHAFFY: Yes. I would have gotten to  
25 some of that during the talk, but let's go ahead and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 address part of that now, and then maybe extend on  
2 what I would have said during my regular talk. If you  
3 look out there, I don't know if you have been  
4 following some of the literature, but there has been  
5 a body of literature building up in the area of  
6 verification and validation. It's a big issue in CFD.  
7 They are starting to relearn lessons that people in  
8 the reactor safety community learned a long time ago,  
9 because they have been burned so often with problems  
10 with CFD results.

11 A fellow named Over Kampf at Sandia Lab  
12 and a bunch of his colleagues have written a whole lot  
13 of reports and some journal articles on that. Patrick  
14 Roache has got a thick book called Verification and  
15 Validation, I think that came out about six or seven  
16 years ago actually. But people are giving some fairly  
17 deep thought to that. If you get into uncertainty due  
18 to the numerical methods themselves, there is a pretty  
19 good technology based on Richardson extrapolation  
20 analysis that people apply within the CFD community.  
21 And we have started to apply it within the concept of  
22 TRACE.

23 In that, you do a systematic timestep  
24 sensitivity study, you do systematic mesh refinement  
25 studies, and by using the Richardson type analysis,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you can put quantitative bounds on what error is being  
2 introduced simply by the fact that I picked my mesh  
3 size this big or my timestep size of one second versus  
4 a tenth of a second.

5 CHAIRMAN RANSOM: Well, is that being  
6 quantified to some extent?

7 MR. MAHAFFY: Yes. If you go out and look  
8 at the literature on Richardson extrapolation  
9 analysis, you know, I can go out and I can give you  
10 some kind of quantifiable number about the error  
11 margin, and again in the field of verification and  
12 validation, people tend to try to define things in  
13 clearer ways and they will distinguish between error,  
14 which is a quantifiable item versus uncertainty, which  
15 is, at its roots, due to things we don't know and  
16 can't know.

17 CHAIRMAN RANSOM: Yes.

18 MR. MAHAFFY: Turbulence. I can't tell  
19 you exactly which way the velocity is going to be  
20 moving at this point and space in this room and that  
21 does things to me.

22 CHAIRMAN RANSOM: Although, there  
23 certainly are things of interest, I think, to --

24 MR. MAHAFFY: Yes.

25 CHAIRMAN RANSOM: -- quantifying the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 uncertainty in these methods.

2 MR. MAHAFFY: And so you can do a  
3 reasonable job of making some statements with a  
4 Richardson-based analysis of how much error is  
5 associated with the fact that I've chosen this mesh or  
6 this timestep. It's not going to be as rigorous as  
7 you like in a code like TRACE or RELAP5, because your  
8 timestep size is running up and down and you have to  
9 really just take snapshots and be systematic in  
10 various snapshots about what is going on.

11 But I have been fairly encouraged about  
12 the ability to understand what my mesh is doing to me.  
13 I don't always like the answers.

14 CHAIRMAN RANSOM: Well, things like one  
15 dimensional approximation of pipe flow are independent  
16 of even the mesh size, you know, so it's some inherent  
17 approximation that may be quite close to the real  
18 result at times.

19 MR. MAHAFFY: Yes.

20 CHAIRMAN RANSOM: And maybe somewhat  
21 further away at other times.

22 MR. MAHAFFY: Yes. But that's an issue,  
23 I think, we can start to cope with. Let's see, Chris,  
24 is the report that we did on the sensitivity study on  
25 Marviken sitting out on the website now? Yes, you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 might want to take a look at that. Whereabouts does  
2 that one sit?

3 MR. MURRAY: This is Chris Murray. We  
4 have like a library in our website where I drop a lot  
5 of the documentation that comes in that doesn't fit  
6 any real subject, you know, specific subject, but  
7 people can come and pick it up.

8 MR. MAHAFFY: But, you know, under that  
9 there is --

10 CHAIRMAN RANSOM: This is on the --

11 MR. MURRAY: This is on our internal site  
12 that I gave you a password for last year.

13 CHAIRMAN RANSOM: Yes, that's fine.

14 MR. MURRAY: I haven't -- I mean, we set  
15 up this other external website for any of the camp  
16 members to go to and I've got basic stuff there,  
17 documentation, sort of what the progress of the code  
18 is and about the tracking system, but I haven't  
19 migrated all of the supporting documentation under  
20 that site yet.

21 CHAIRMAN RANSOM: Okay.

22 MR. MAHAFFY: Anyway, if you go out there,  
23 I believe I saw it listed under my student's name,  
24 Matt Lazor, L-A-Z-O-R, and it is probably just a copy  
25 of his thesis. He did a mesh sensitivity Marviken,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 which was rather interesting, in that it shows you how  
2 you get the right answers for the wrong reasons. He  
3 had started with an input deck that was provided to us  
4 from the NRC that did a fair job of matching mass flow  
5 rates, say at the break on one of the Marviken tests.  
6 I don't remember right now which one he did the  
7 specific study on.

8 I said okay, now, what I want you to do is  
9 go in and do a Richardson-based analysis to tell me  
10 what my error is associated with the mesh. And he  
11 went and he did the study and as he refined the mesh,  
12 the answers started to get worse. And by the time he  
13 reached a converged solution on the mesh, there was a  
14 noticeable decay in the quality of the answers in a  
15 qualitative way that the mass flow rate curve looked  
16 quite different.

17 I scratched my head and said okay, I  
18 understand that. What is happening with Marviken is  
19 it's a thermally stratified big tank of water, okay.  
20 And the time history of the mass flow rate, at the  
21 exit, is sensitive to the temperature of the water  
22 that is coming into the nozzle, which in turn is  
23 sensitive in effect to things like the diffusion  
24 phenomena that's prematurely bringing some of the  
25 warmer water down to the nozzle.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RANSOM: Right.

2 MR. MAHAFFY: And what was done in the  
3 analysis was that you got the mesh size just right so  
4 that the numerical diffusion matched the diffusion  
5 processes going on in the system itself. If you think  
6 about it, really what is happening is you've got this  
7 3-D tank and the water going down into the exit pipe  
8 is it's not coming in some uniform drop down of the  
9 level, but it is being sucked in from the middle, so  
10 you're getting the warmer temperatures sooner than if  
11 the tank had just sort of uniformly come down with all  
12 your water coming off the bottom at the time.

13 So, you know, that's kind of an  
14 interesting thing you learn when you do these  
15 sensitivity analyses. And I'm hoping people will do  
16 a lot more of that kind of stuff in the future.

17 VICE CHAIR WALLIS: You know, that's  
18 numerics. There are all kinds of problems with the  
19 one dimensional nature of the assumption that go into  
20 the --

21 MR. MAHAFFY: Yes, I talked a little bit  
22 about that. You and I will probably get into  
23 discussion on momentum equations here shortly.

24 VICE CHAIR WALLIS: It was extraordinary  
25 to me that Joe talked about some of the Wallis or Hugh

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 or all of these interfacial friction things. They are  
2 only valid for a long, long straight pipe. And if  
3 they are used in reactor circuits where, you know, the  
4 bend is very sharp --

5 MR. MAHAFFY: Sure.

6 VICE CHAIR WALLIS: -- obviously,  
7 something completely different is happening in there.

8 MR. MAHAFFY: Yes.

9 VICE CHAIR WALLIS: It's amazing it works  
10 at all.

11 MR. MAHAFFY: Well, if you think about it  
12 long enough, and a lot of these things aren't too  
13 amazing, it's just that there are an awful lot of --  
14 it's the old part business. There are an awful lot of  
15 phenomena in many cases relevant to reactor safety  
16 that, you know, they are not modeled correctly, but  
17 they are not important.

18 VICE CHAIR WALLIS: It don't matter very  
19 much.

20 MR. MAHAFFY: Yes, and that's what it  
21 shows you. An awful lot of reactor safety analysis,  
22 if you do a decent job of conserving energy and mass  
23 and get a good check flow out the backend, one way or  
24 another your model flow and get a fairly respectable  
25 answer.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Okay. I'm just going to address the  
2 second letter that came up. I produced a written  
3 response and that castrated into things that the NRC  
4 talked about in the first letter, but this --

5           VICE CHAIR WALLIS: Did you send that out?  
6 I didn't receive it.

7           MR. MAHAFFY: I sent a response to the NRC  
8 and they embedded that in whatever they, you know,  
9 did. And as Joe said --

10          CHAIRMAN RANSOM: Did you ever see it?

11          VICE CHAIR WALLIS: No.

12          MR. MAHAFFY: Anyway, you are about to see  
13 it live. Everything I told the NRC, I'm about to tell  
14 you and it's in this view graph presentation. All  
15 right? What I've done, first of all, is to identify  
16 for you in bullet form the key points that I saw in  
17 that letter. Okay. There is a comment, a not too  
18 happy comment. It says "TRACE numerical methods are  
19 an engineering solution."

20          VICE CHAIR WALLIS: Yes.

21          MR. MAHAFFY: Okay. There is another one  
22 that says "It seems to me that there is a high  
23 probability that convergence of the numerical  
24 equations to the continuous equations cannot be  
25 demonstrated." Those are related comments. There's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 "Generally no multi-step method actually satisfies the  
2 original FDEs." The next one, "The numerical method  
3 does not solve for the void fraction in a way that can  
4 be theoretically justified."

5 Another one, "When a single phase is in  
6 the flow system a linearized version of the basic  
7 equations is solved." He says "Neither RELAP5 or  
8 TRAC/TRACE attempt to satisfy the non-linear EOS for  
9 the two-fluid model." And "Numerical methods have  
10 been developed to focus on CPU time needed for the  
11 calculation" etcetera. There is some confusion in the  
12 letter about a coefficient, we call, "beta" in the  
13 momentum equations. And then there is some general  
14 comments on the momentum equations in the letter.

15 First of all, let me talk about the  
16 engineering solution. Guilty as charged. I will make  
17 a blunt statement.

18 VICE CHAIR WALLIS: What else could it be?

19 MR. MAHAFFY: Well, no, I mean, you have  
20 got to have good solid mathematics behind your  
21 numerical method. If you don't, you're sunk. There  
22 is no question about that. But what I want to say is  
23 that anyone developing numerical methods for use in  
24 production simulation codes is not doing their job if  
25 they ignore engineering solutions. Okay. You get the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 underlying mathematics right, but you have to  
2 experiment. There is flexibility within the  
3 mathematical formulation. There are a number of  
4 options that rise before you that you have to explore  
5 to find the one that is going to give you the most  
6 robust, but still consistent solution.

7 VICE CHAIR WALLIS: Well, it's true in two  
8 phase flow where there really is no fundamental  
9 equation like the Navier-Stokes equation you can turn  
10 to and say --

11 MR. MAHAFFY: Yes.

12 VICE CHAIR WALLIS: We know the  
13 fundamental math and if we were clever enough, we  
14 could solve that. You don't have that situation.

15 MR. MAHAFFY: Yes. And I've given you a  
16 list of comments here. You can see them. But the one  
17 thing I do want to make point is you do stick to the  
18 mathematics. You tinker within the idea that the  
19 resulting difference equations are still formally  
20 consistent with your original partial differential  
21 equations. Okay. And I'm going to step back from  
22 part of what you said. I'm worrying about the  
23 numerical methods.

24 Somebody has given me a mathematical  
25 problem and we'll talk about that in a minute and then

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 I'm in the business of doing a numerical solution to  
2 that mathematical problem. Okay. Convergence of the  
3 differential equations. Okay. Basically, I've got to  
4 agree with the author's comment here within certain  
5 bounds. Okay. Formal convergence in the concept of  
6 numerical methods really is demonstrated by the Lax  
7 Equivalence Theorem, which I have quoted here.

8           Basically, it says if you've got a  
9 properly posed initial value problem and you've got  
10 difference equations that are formally consistent with  
11 the difference equations or the differential  
12 equations, excuse me, and stability is a necessary and  
13 sufficient condition for convergence. Okay. Well,  
14 you know, this was something that was hashed over many  
15 years ago. TRACE, TRAC, RELAP5, they are in trouble  
16 with the properly posed clause of the Lax Equivalence  
17 Theorem.

18           We admit that. Okay. And as we move  
19 forward, things have got to be done about that. I  
20 know Vic did some nice work.

21           CHAIRMAN RANSOM: Now, there is another  
22 aspect of that too, though, when you deal with one  
23 dimensional average system or whether you deal with  
24 multi-dimensional. They are volume average models,  
25 when you talk about multi-phase flow. You know, we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have averaged over the phases to get more or less the  
2 single set of equations, so it seems kind of  
3 ridiculous, let's say in the one dimensional sense, to  
4 talk about zero Delta X, you know, or any attempt to  
5 try to converge to that sort of dimension, which then  
6 says it is an area averaged sort of phenomena that  
7 you're dealing with.

8 MR. MAHAFFY: Yes.

9 CHAIRMAN RANSOM: But in reality, it's  
10 inconsistent with say the volume average. So I don't  
11 -- do me that's not a big issue. You know, I think,  
12 we're never going to deal with zero length meshes and  
13 we're more interested in say consistent meshes where  
14 maybe the  $l$  over  $d$  is approximately 1 or something  
15 like that, and what sort of uncertainty is associated  
16 with the model at that level. That would be more  
17 meaningful, I believe.

18 MR. MAHAFFY: I generally agree with you  
19 there. It's just, you know, this issue, the numerical  
20 error what we often refer to as numerical diffusion,  
21 with first order terms. You need to get some  
22 understanding of what that is doing to you with any  
23 given mesh.

24 CHAIRMAN RANSOM: Sure.

25 MR. MAHAFFY: And realize whether or not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it is getting you into trouble.

2 CHAIRMAN RANSOM: But this was more or  
3 less like the Wolfgang Wullf sort of concept where we  
4 always were trying to prove, you know, convergence and  
5 the limit.

6 MR. MAHAFFY: You know, I can show  
7 convergence in any reasonable limit. I mean, if you  
8 go back to the old literature.

9 CHAIRMAN RANSOM: Oh, please, do. Right.

10 MR. MAHAFFY: Yes, you have to get your  
11 mesh pretty small before we get into --

12 VICE CHAIR WALLIS: This is silly. If you  
13 take the flow say entrance place in developing bound  
14 linear on the wall and all the classical problems, you  
15 cannot solve that by taking averages across the pipe.

16 MR. MAHAFFY: I hear you.

17 VICE CHAIR WALLIS: What happens is  
18 essentially in the other dimension.

19 MR. MAHAFFY: Right.

20 VICE CHAIR WALLIS: And it's absurd to  
21 then fiddle and fuss about whether or not it's  
22 accurate, because it isn't.

23 MR. MAHAFFY: You've got --

24 VICE CHAIR WALLIS: You still draw your  
25 control volume.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. MAHAFFY: That's right.

2 VICE CHAIR WALLIS: You still make an  
3 approximate balance.

4 MR. MAHAFFY: That's right. But there are  
5 inaccuracies due to your discretization that you  
6 better understand to make sure they are not greater  
7 than the inaccuracies due to your physical  
8 approximations. That's where you are.

9 Another problem with the Lax Equivalence  
10 Theorem if you really look into the literature, you'll  
11 find that it's only going to be rigorous when you've  
12 got a set of linear PDEs to begin with. Okay. It's  
13 a guideline. Okay. And that's what I say in the next  
14 thing. You know, you've got a guideline here. But in  
15 terms of SETS itself, which is the big issue for the  
16 author of this letter, one thing I want to make  
17 absolutely clear is that from the beginning, and you  
18 know SETS was created more years ago than I like to  
19 think about, because I was still young then, I realize  
20 from the beginning there were all kinds of potentials  
21 for difficulties here.

22 And one of the things that we did, for  
23 example, and we continue to do over the years is from  
24 time to time do a test. Is SETS, as my timestep gets  
25 smaller, coming in to alignment with its answers with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the Semi-Implicit method? If both of those methods  
2 are there as options, you know, if you don't like  
3 SETS, fine, turn the semi-implicit option and run that  
4 on TRACE. But what we see is that, yes, indeed, you  
5 know, as your timestep size gets smaller, the SETS  
6 answers are going into semi-implicit answers or if you  
7 are approaching steady-state, even if the timestep  
8 size is much bigger with SETS, it goes to the same  
9 steady-state that a semi-implicit would and it should.

10 It's because SETS is a funny multi-step  
11 method and multi-step methods, I think, get bad names  
12 mainly from some of these flux splitting techniques  
13 that are used for multidimensional problems and  
14 there --

15 VICE CHAIR WALLIS: Oh, SETS.

16 MR. MAHAFFY: What is very enhancing to  
17 SETS and at Idaho the flow of SETS was something  
18 called "newly-implicit." Anyway, when you get into  
19 this flux splitting algorithms, yes, you can get into  
20 even serious problems with consistency issues. But  
21 this thing, you know, each step is using the same  
22 spacial difference operators. There is no attempt  
23 with these two steps to establish higher accuracy in  
24 your second step than in your first. There is no  
25 attempt to simplify your multidimensional spacial

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 operators. There are no shortcuts there.

2 All you are trying to do is stabilize a  
3 basic method which is semi-implicit. The other thing  
4 we have done to demonstrate convergence, I have  
5 already talked about, and that's to take a look at  
6 some of this Richardson extrapolation analysis.

7 CHAIRMAN RANSOM: I wonder if that's  
8 similar to, you know, I did some work on using  
9 fastforwarded transforms to look at the output from a  
10 numerical method to see how the different wavelengths,  
11 you know, of a disturbance would decay. And the  
12 conclusion I came to there is all of these methods  
13 depend on some numerical stability or damping, you  
14 know, the limit.

15 MR. MAHAFFY: Yes.

16 CHAIRMAN RANSOM: To kill off the shorter  
17 wavelength behavior.

18 MR. MAHAFFY: Yep.

19 CHAIRMAN RANSOM: And that's just  
20 something you have to have. It goes back to the same  
21 Lax Equivalence Theorem that, you know, that method  
22 must be stable in order for you to ever achieve  
23 consistency or convergence.

24 MR. MAHAFFY: Yes.

25 VICE CHAIR WALLIS: Well, it's ludicrous.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I mean, you get to the point where you're worried  
2 about stability when you have a millimeter long  
3 control volume and a one meter diameter pipe.

4 MR. MAHAFFY: Sure.

5 VICE CHAIR WALLIS: It makes absolutely no  
6 sense.

7 CHAIRMAN RANSOM: For the analysis type  
8 approach though, it looks at what happens at 2 del  
9 vex, because that's the wavelength that you must be  
10 stable at in these numerical calculations.

11 MR. MAHAFFY: Yes.

12 CHAIRMAN RANSOM: To me it was insightful,  
13 but never seemed to be picked up as a general way of  
14 demonstrating stability of these methods.

15 MR. MAHAFFY: Yes. Let me give you an  
16 example of the kind of thing we do from time to time  
17 and did quite frequently early on with this  
18 methodology. I've got a set of four runs here, which  
19 you'll have trouble telling the difference between,  
20 but I do a base semi-implicit run with TRACE letting  
21 the TRACE timestep control do whatever it wants to do.  
22 And then the dominant control in the timestep there is  
23 the material collapse/stability limit for the semi-  
24 implicit.

25 I looked at it and the semi-implicit,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 basically, three milliseconds was where, in this  
2 particular case, it wanted to set the material  
3 collapse/stability limit most of the time. There were  
4 some places where it crept up. I went ahead and put  
5 a ceiling on the semi-implicit at 3 milliseconds for  
6 a second run. Here you won't see the difference in  
7 the answers at all.

8           SETS was being run for this problem with  
9 an upper time limit of a tenth of a second. And  
10 indeed, for a large portion of this transient, it was  
11 running at a tenth of a second. Not the whole thing,  
12 latent time it didn't. I reran SETS back down really  
13 effectively at the dominant material Courant limit.  
14 I wouldn't expect an exact match in this case anyway,  
15 because if you look at the numerical diffusion  
16 associated with these methods, at the material Courant  
17 limit, there is a noticeable difference.

18           I mean, it's there. But in this case  
19 break mass flow matched pretty closely. You can see  
20 a little bit of difference here. In fact, if you look  
21 really carefully, you will see some oscillations in  
22 the full up SETS method. Those are instabilities  
23 driven off the fact that the choke flow models  
24 evaluated explicitly. Okay. Which is something we'll  
25 talk about in a minute.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1                   VICE CHAIR WALLIS: As an engineer, one  
2 would say look, it isn't changing very much.

3                   MR. MAHAFFY: No.

4                   VICE CHAIR WALLIS: And then second, it  
5 makes no sense to have a timestep with 3 milliseconds.

6                   MR. MAHAFFY: That's right, yes.

7                   VICE CHAIR WALLIS: The fact that you put  
8 in some momentum equation which has compressibility,  
9 which I think will go bezerk, that isn't really  
10 physically affecting what happens.

11                  MR. MAHAFFY: In this case, it's not  
12 simply the momentum equation. The mass and energy  
13 equations along --

14                  VICE CHAIR WALLIS: It must be something.

15                  MR. MAHAFFY: It's the semi-implicit  
16 methodology. The fact that, if you look, for  
17 instance, at a mass equation, I'll show you an  
18 instance in a minute and you'll understand what's  
19 happening. I mean, one of the most sensitive items in  
20 any kind of LOCA, you take a look at the void fraction  
21 next to the break and that's what I'm plotting here.  
22 You basically the only place you see a difference here  
23 is at the highest timestep level for the SETS method.

24                  You go down to the lower stability limit  
25 times step level and everything is just laying over

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 each other.

2 CHAIRMAN RANSOM: SETS is a tenth?

3 MR. MAHAFFY: Well, SETS is a tenth.

4 You're getting that green line there. The one that  
5 lays low.

6 CHAIRMAN RANSOM: Right. These don't have  
7 the value in there, I guess.

8 MR. MAHAFFY: Yes. And again, there is  
9 some oscillations early on when you are running the  
10 high timestep off of the explicit evaluation of the  
11 choke flow model. And that's pretty much it. It is  
12 doing a pretty good job. There was this comment about  
13 multi-step methods having trouble satisfying the FDEs.  
14 Here I have a suspicion that there was a typo in the  
15 letter. The author was probably talking about  
16 satisfying the original PDEs, which goes back to our  
17 convergence discussion earlier, and I won't say  
18 anything more about that.

19 If the author really was talking about the  
20 FDEs, I mean, they are what they are. And, you know,  
21 we go through a process of verification and  
22 validation. SETS over the years has gone through a  
23 rather substantial verification effort. You've got a  
24 99.999 percent certainty at this point that, you know,  
25 the Fortran implementation of the difference equations

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 are as written, because we've done things like do  
2 analytic evaluations and numerical evaluations of the  
3 Jacobian for the semi-implicit step.

4 Also, semi-implicit SETS have actually  
5 been written in three different completely separable  
6 Fortran implementations and in each case we have  
7 compared the results of one to the results of the next  
8 to make sure they match. So that's pretty solid.

9 There is another comment here and I've got  
10 -- I'll let you read this later on at your leisure,  
11 and I just want to hit the highlights in some further  
12 view graphs. There are some worries about the way  
13 void fraction enters into the solution here with SETS.  
14 The author of the letter correctly noted that there is  
15 a linearization step at the end of the timestep that  
16 generates a final new-time value of the void fraction  
17 and was worried about the impact of this.

18 And I want to explain really how that  
19 feeds into things. If you look at the time  
20 implementation of the mass equation, for instance, the  
21 real key item in the mass and the energy equation,  
22 it's really not the microscopic quantities, but the  
23 macroscopic densities, the products of Alpha and Rho,  
24 the products of Alpha Rho EL, your big grand averages  
25 over area and whatnot. And the numerical method, this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is, you'll see an analogy of what happens in RELAP5,  
2 but let's just talk about SETS in TRACE right now.

3 Here is the stabilizer mass equation and  
4 the last thing you do at the end of the timestep, you  
5 stabilize your mass equations. And if you look at  
6 this, this looks like a fully implicit equation,  
7 except what you have to realize is that these  
8 velocities that are labeled new-time have actually  
9 been locked in by the semi-implicit step. So all I'm  
10 solving for here are these macroscopic densities and  
11 in 1-D that's at worst to tridiagonal matrix. In  
12 fact, it's normally a lower triangular or an upper  
13 triangular matrix, if you've got up-wind differencing  
14 and unidirectional flow.

15 So you get that and the important thing  
16 here is that when you move on to the next timestep,  
17 you carry through this product as generated by the  
18 solution into your old time values. So, for instance,  
19 when I go to my semi-implicit step, the old time value  
20 here in my time derivative it's just the solution as  
21 generated there. The values I'm using in the flux  
22 terms, they are the same things that came out of this  
23 solution.

24 At no point have I gone back and, you  
25 know, used any separable void fractions, whatever to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 recalculate these quantities. They are carried over  
2 in a consistent way that guarantees mass conservation,  
3 energy conservation from one step to the next. Okay.

4 CHAIRMAN RANSOM: Well, it says complained  
5 about. I think you probably do solve for Rho EL from  
6 the equation state and then divide out for Rho by that  
7 to get Alpha, I would guess.

8 MR. MAHAFFY: It's a little more  
9 complicated than that and I'm going to show you that  
10 in a second.

11 CHAIRMAN RANSOM: Some other variable.

12 MR. MAHAFFY: But the important thing that  
13 you've got to understand is whatever we're doing with  
14 this Alpha, and I'll show you what we're doing in a  
15 second, it's not feeding into the time evolution of  
16 the mass content and the energy content of the flow.  
17 Okay. In terms of Graham's discussion, if you look at  
18 a semi-implicit equation, the stability comes in from  
19 the fact that I'm using an old time macroscopic  
20 density in my flux term that naturally introduces a  
21 stability restriction that says I can't really run my  
22 timestep any higher than would give me a natural flow  
23 of density from one cell to the next cell.

24 If my timestep is high enough, that in one  
25 timestep I'm trying to grab macroscopic densities from

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 two cells away for my information and my fluxes,  
2 something bad is going to happen and it does. It's a  
3 numerical instability.

4 VICE CHAIR WALLIS: I can see where you  
5 get into trouble if Alpha is very close to 1. And  
6 when you solve this thing you find that the define  
7 point growing has been around for bigger than 1.

8 MR. MAHAFFY: Well, forget the --

9 VICE CHAIR WALLIS: A hiking or something  
10 that --

11 MR. MAHAFFY: Well, forget that. I mean,  
12 even if Alpha --

13 VICE CHAIR WALLIS: Has that never  
14 happened?

15 MR. MAHAFFY: Yes. Even if I implement  
16 this on a pure single phase equation of state with  
17 stability, okay, whether or not Alpha something is not  
18 going to influence the stability.

19 VICE CHAIR WALLIS: With single phase flow  
20 Alpha Rho is Rho itself.

21 MR. MAHAFFY: Yes, yes. But the fact that  
22 the void fraction is 0 or 1 or anything in between  
23 really has no influence on this crush in the stability  
24 associated with semi-implicit. It's, you know,  
25 something amenable to numerical analysis. You can go

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 out and do a standard von Neumann analysis and  
2 understand why that is happening.

3 CHAIRMAN RANSOM: Well, the only complaint  
4 that they might be getting at is you do need Alpha in  
5 the momentum treatment, you know.

6 MR. MAHAFFY: You do need the Alpha in the  
7 momentum treatment, particularly, in various  
8 correlations. And here is what we're doing.

9 CHAIRMAN RANSOM: As well, right.

10 MR. MAHAFFY: Here is the overall strategy  
11 with the use of variables in SETS. You are trying to  
12 do things as consistently as possible. This void  
13 fraction that the letter's author was concerned about,  
14 what happens is at the end of the timestep, you have  
15 in any given volume these macroscopic densities for  
16 vapor, liquid, non-condensable gas, if it's present,  
17 and what you can do, I mean, what you don't know is  
18 fundamental variables like void fraction, temperature,  
19 pressure, partial pressure variable, whatever.

20 Okay. You can go in and based on your  
21 equation of state, you could do a solution. You know,  
22 I've got my final state that says the product Alpha  
23 Rho G is equal to 3, you know. That may be the number  
24 that I got after I solved all my mass equations. So  
25 I've got an equation that says Alpha Rho G equals 3

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and I've got another one that says 1-Alpha Rho EL is  
2 equal to some other number. And I take this coupled  
3 set of equations and I can iteratively solve for void  
4 fraction temperatures pressures. Right? It's just  
5 math. We do that, but we only --

6 CHAIRMAN RANSOM: If it's 3, the other one  
7 is -2, right?

8 MR. MAHAFFY: Yes.

9 CHAIRMAN RANSOM: Which is a little  
10 embarrassing.

11 MR. MAHAFFY: Well, it won't be.

12 CHAIRMAN RANSOM: All right.

13 MR. MAHAFFY: If you've solved  
14 conservation equations properly with a first order of  
15 method, you won't end up with a negative number.

16 CHAIRMAN RANSOM: But you solve for the  
17 two Alphas independently or do you use the --

18 MR. MAHAFFY: What we did --

19 CHAIRMAN RANSOM: -- fact that the sum was  
20 equal to 1?

21 MR. MAHAFFY: We used the fact that the  
22 sum is equal to 1. Okay. You have to. You know, if  
23 you want to think about two independent Alphas, you  
24 need an extra equation and that equation is the sum of  
25 the two, volume fractions is equal to 1. And you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 know, you'll end up once you do your anomaly and your  
2 iteration getting the same answer.

3 But all we do, and this concerns the  
4 letter's author a bit, and I don't blame him, we only  
5 do a one shot linearization of that solution set and  
6 it's just from experience. The reason we do that is  
7 that there is timestep control on change in void  
8 fraction. From one timestep to the next, we're not  
9 letting the void fraction change by much anyway. So  
10 the linearized approximation, just as it works well in  
11 RELAP5 with proper timestep control for the whole set  
12 of mass and energy equations, is going to work well  
13 here for this limited statement of I know the mass  
14 content and the energy content of each volume. Out of  
15 that you get a void fraction.

16 VICE CHAIR WALLIS: This again points up  
17 on the uncertainties of being too finicky. If you  
18 have something like slow flow, you have liquid and  
19 then vapor and then vapor and liquid and vapor.

20 MR. MAHAFFY: Yes.

21 VICE CHAIR WALLIS: Obviously, you can't  
22 have a given point for a fraction going from 0 to 1.  
23 For the quite reason you forced it, because of these  
24 pseudo partial differential equations, you forced this  
25 flourishing never to be able to happen.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. MAHAFFY: Yes. In this case --

2 VICE CHAIR WALLIS: So, you know, the math  
3 is really -- should be regarded as a crude  
4 representation of the physics and not taken so  
5 tremendously seriously as being absolutely true.

6 MR. MAHAFFY: Now, let me tell you why we  
7 went to this trouble. It's numerically and it's all  
8 related to a problem I'm going to talk in a little  
9 more detail here, a view graph or two down the line,  
10 and it has to do with this pervasive problem that heat  
11 transfer and friction coefficient, whether they be  
12 interfacial or wall, were evaluated with old time  
13 level quantities and there are various instabilities  
14 that rise on that.

15 I mean, because of the fact that these  
16 things are on the ragged edge of disaster, I want a  
17 void fraction that is going to be as well stabilized  
18 as possible to feed into these correlations. And the  
19 void fraction that's consistent with my final semi-  
20 implicit equation solution is from engineering  
21 experience, in effect, on the equations. The one that  
22 allows things to run with the least amount of  
23 instabilities developing off of those various  
24 coefficients. So it's used there.

25 Now, again, the letter author notes

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 correctly that he threw everything else away. The  
2 void fraction is the only thing we keep out of that.  
3 Now, why is that? Okay. I don't use when I roll on  
4 to my next timestep temperatures and pressures that  
5 I've deduced from the end of that timestep. And there  
6 is a logical reason for that. The reason is that if  
7 you think about it, the stiffest parts of our  
8 equations are solved implicitly within that central  
9 semi-implicit step.

10 Okay. That's whether we have the implicit  
11 coupling between the temperatures in the phase change  
12 terms, in the interfacial heat transfer and whatnot,  
13 and that's where I'm going to get my best relationship  
14 between my liquid temperature and vapor temperature  
15 and the saturation temperature. When I go back to the  
16 solution of the final stabilizer mass and energy  
17 equations, things are going to drift off a little bit.

18 So I've got all these risk correlations  
19 that really care where I lie relative to the  
20 saturation line and I want to use temperatures and  
21 pressures, as a coincidence, that will give me the  
22 best relationship, the most stable relationship there  
23 when I come in and evaluate my correlations. And  
24 that's why there is this funny mix there. Again, it's  
25 engineering. But what I argue is that if you look at

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this thing, they are all, you know, given new time  
2 level, the same number within the order of accuracy of  
3 my numerical method. Okay.

4 CHAIRMAN RANSOM: Well, the old time  
5 values are -- that's true of them as well.

6 MR. MAHAFFY: Yes.

7 CHAIRMAN RANSOM: But it may not be as  
8 stable like you said.

9 MR. MAHAFFY: Yes. So I have a choice  
10 given the effective accuracy in my numerical method of  
11 a number of things to pick off, and I pick off the  
12 ones that stabilize things the best and stability is  
13 a requirement for convergence and that's something  
14 I've got my eye on, but I'm not doing anything in here  
15 that destroys the consistency with my PDEs.

16 The issue was raised in the letter about  
17 the treatment of the single phase and here I need to  
18 go back and I will look at it very carefully when I  
19 update the documentation to reflect the addition of  
20 our implicit methodology. It may be that the  
21 documentation is unclear. I will make sure it does  
22 clear up here. When TRACE goes single phase, it does  
23 do something a little unusual, in that it changes the  
24 set of equations that you are solving.

25 Normally, in two phase form what TRACE

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 will do is it will have a mean mass equation, a mean  
2 energy equation, a vapor mass, a vapor energy and, if  
3 necessary, non-condensable mass equations. Okay. And  
4 when in the course of the iterative solution of the  
5 semi-implicit equation step you discover that your  
6 void fraction is headed less than 0 or greater than 1,  
7 it's got tests in there that take a careful look at  
8 the flux conditions, boiling and condensation  
9 conditions. And if they indicate that only one  
10 conclusion is possible, and that is you've gone single  
11 phase, you change your equations.

12           You preserve the full mean mass and the  
13 full mean energy equation so that on the whole you are  
14 still conserving rigorously your total mass and your  
15 total energy. And then let's say we have gone to all  
16 liquid system, what I do is I instead of my vapor mass  
17 equation, I've got an equation that simply says Alpha  
18 equals 0. And I've got another equation that simply  
19 says T vapor is equal to  $T_{\text{sat}}$ . Okay. And that's the  
20 new set of equations.

21           And if you look at it, another way of  
22 regarding that is mathematically it ends up to being  
23 the same thing that would have happened if I would  
24 have sat down and very carefully looked at the  
25 condensation process, say, over the course of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 timestep where vapor disappeared, and I only integrate  
2 my mass transfer term over the fraction of that  
3 timestep size in which there is mass to condense.  
4 Okay.

5           There is an Algebraic equivalency hidden  
6 underneath this methodology, but at no point do I  
7 throw away or I gain that mass. The equations that  
8 remain that I have listed, however, they are not  
9 solved simply in linearized form. We take the full  
10 non-linear mass, mixture mass and mixture energy  
11 equations, we iterate to solve them. Okay. So that's  
12 the only correction there.

13           VICE CHAIR WALLIS: So you might be in  
14 trouble at the point where you are changing from two  
15 phase to single phase or vice versa where the  
16 equations themselves are changing across the node.  
17 That might give you some problems. I can see how that  
18 might happen. Also, a problem if you have tried to  
19 model on a node with multiple connections, some of  
20 which may be two phase and some of which may be single  
21 phase and you don't know which is which, I think you  
22 might have a real problem with that one.

23           MR. MAHAFFY: You find out which is which.  
24 Okay, yes. My words have hidden a block of if tabs  
25 that are checking to make sure, you know, I'm

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 understanding that not only is my void fraction zero  
2 right now, but every connection to that cell I've  
3 assured myself that there is no vapor coming in there.

4 VICE CHAIR WALLIS: But you don't know  
5 ahead of time, I mean.

6 MR. MAHAFFY: Yes, but, you know, I know  
7 it's there, because of the nature of the semi-implicit  
8 method. That's all I would like to say on that,  
9 unless there are further questions. Simply, we do  
10 solve the full non-linear equations there.

11 CHAIRMAN RANSOM: Don't you have to modify  
12 the liquid velocity? I mean, this is related to Water  
13 Packing as well, right, when you get this phase  
14 transition?

15 MR. MAHAFFY: Yes. That's a separate  
16 issue. It depends on how the phase transition is  
17 occurring. If it has occurred from a continuity way  
18 moving through the volume, you most assuredly will  
19 have to do something with that liquid velocity. And  
20 either your Water Packing logic has engaged and if you  
21 remember the classic Water Packing correction that,  
22 you know, RELAP5 and TRACE probably introduced the  
23 same kind of thing independently 20 or 25 years ago.  
24 Effectively, all you do is when you detect Water  
25 Packing you artificially reduce the inertia of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 fluid at the face, so that a small pressure change  
2 will allow the velocity to come in to line and fit the  
3 discontinuity in the velocity that is moving through.

4 CHAIRMAN RANSOM: That's still the basis  
5 for the Water Packing algorithm?

6 MR. MAHAFFY: It's one of two bases. What  
7 we really like to see is situations where a level  
8 tracker can take care of it, because it does a much  
9 better job.

10 CHAIRMAN RANSOM: What will?

11 MR. MAHAFFY: The level tracking logic.

12 CHAIRMAN RANSOM: Yes.

13 MR. MAHAFFY: If I'm fortunate enough, and  
14 level tracking is just that, it relies on vertical  
15 upflow, if I've got a bunch of liquid flowing up  
16 through a vapor filled space, and I have my level  
17 tracking logic turned on, except for some glitches  
18 that Joe is headed to, it's not 100 percent yet, but  
19 it's doing pretty well, it will in general do a much  
20 better job, because it really has much more cognizance  
21 of the nature of the discontinuity that's moving  
22 through the mesh. It does a better job of correcting  
23 that liquid velocity and the vapor velocity to get a  
24 good solution to a discontinuous process.

25 CHAIRMAN RANSOM: That one, too, many

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 bases will have a zero liquid velocity until the  
2 liquid gets there and then somehow you have to --

3 MR. MAHAFFY: TRACE does something a  
4 little different than RELAP5 does.

5 CHAIRMAN RANSOM: I don't know what RELAP5  
6 does.

7 MR. MAHAFFY: RELAP5, yes, I think, it  
8 used to do this business. You talk about if the phase  
9 is absent, there is a zero velocity.

10 CHAIRMAN RANSOM: Right.

11 MR. MAHAFFY: It may not do that any more,  
12 but in TRACE and in TRAC, what we always did was we  
13 said okay, if I can't find any liquid to calculate a  
14 liquid momentum equation, I'm going to assume one  
15 droplet present and I'm going to figure out just so I  
16 have advance notice when some liquid appears what the  
17 liquid velocity would be. Okay. It's just one  
18 approximation. It tends to make things run a little  
19 better than if I just always start at zero. It's not  
20 a perfect solution by any means, but that's something  
21 that happens to be done in there.

22 Not only your equation mistake, my belief  
23 is that we probably just have a semantics problem on  
24 this one and my understanding of solving it for the  
25 non-linear equation of state is not the same as

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 whoever wrote this particular paper, this letter. But  
2 I will say that within the context of the semi-  
3 implicit step and certainly when I'm running the semi-  
4 implicit method as implemented in TRACE, to the extent  
5 my iteration is converged, every quantity that I've  
6 got is consistent with the full non-linear equation of  
7 state. Okay.

8           You know, your temperature, pressure,  
9 density, energy relationships all in a non-linear way  
10 are consistent with your equation of state as they  
11 come out of the solution of the mass and energy  
12 equations. That's really all I can say on that  
13 subject for lack of --

14           VICE CHAIR WALLIS: The equation of state  
15 is discontinuous, I mean, slow when you cross the  
16 phase boundary.

17           MR. MAHAFFY: True.

18           VICE CHAIR WALLIS: You can handle that  
19 okay?

20           MR. MAHAFFY: Yes, we do. It does cause  
21 you heartburn, you know, when you have phase changes,  
22 when you're trying to solve a set of couple non-linear  
23 equations, and this is back to our little engineering  
24 interventions, there are various little if tests in  
25 TRACE when it detects things jumping across the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 saturation line. Sometimes it does some things to  
2 your next gas for a temperature as you continue your  
3 iteration, so you don't get too far out of line.

4 CHAIRMAN RANSOM: Well, you have  
5 incorporated Martinson's improved equation of state,  
6 I think, I mean, that models the super heated liquid  
7 and the sub-cooled steam state.

8 MR. MAHAFFY: Yes, I believe, NRC --

9 CHAIRMAN RANSOM: Do you have an equation  
10 state for each of those?

11 MR. MAHAFFY: -- can speak to that better.  
12 But I think we had the latest.

13 MR. STAUDENMEIER: You know, we can  
14 integrate the RELAP5 equation state tables into TRACE.  
15 It's an option.

16 CHAIRMAN RANSOM: So actually, it's two  
17 equations of state?

18 MR. STAUDENMEIER: Yes.

19 CHAIRMAN RANSOM: One for length and one  
20 for vapor.

21 MR. MAHAFFY: But the reason we have gone  
22 with two equations of state is really a question of  
23 runtime. I think if that wasn't an issue, we probably  
24 would just lock on to the RELAP5 equations and be done  
25 with it. But when you run the old TRAC curve fit

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 equations of state, they are substantially faster.

2 CHAIRMAN RANSOM: How do you get the curve  
3 fit values?

4 MR. MAHAFFY: Yes, you would have to go  
5 find Mangit Sahota and find out exactly the mysteries  
6 he went through to create all of that.

7 CHAIRMAN RANSOM: I think Mortensen went  
8 through the Helmholtz function for the steam table --

9 MR. MAHAFFY: Mortensen did an incredibly  
10 good job.

11 CHAIRMAN RANSOM: -- and differentiated it  
12 to get a --

13 MR. MAHAFFY: And Mangit did a good job  
14 within the context again of large break LOCA. Okay.  
15 An equation state that really did a bang up great job  
16 in large break LOCA and has survived a whole lot of  
17 other applications, where it finally fell on its face  
18 was Tom Downar's left, but when you get into  
19 applications with coupled neutron kinetics and very  
20 small errors in your liquid density, can make a big  
21 difference in your answer.

22 You know, you see that when you run the  
23 old TRAC equation of state. You know, we first  
24 noticed the problem when, it was probably Tom that was  
25 saying gee, I can't understand why everybody else is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 getting this answer and I'm shifted off to something  
2 else, and he finally traced it down to say ah-ha.

3 CHAIRMAN RANSOM: Well, I'm a little  
4 unclear what you are saying. What is used in TRACE?

5 MR. MAHAFFY: Either one.

6 CHAIRMAN RANSOM: Either one?

7 MR. MAHAFFY: Either one.

8 CHAIRMAN RANSOM: You mean the user has a  
9 choice?

10 MR. MAHAFFY: Yes. If you are in RELAP5  
11 mode with TRACE, okay, if it knows the input has come  
12 from RELAP5 and, you know, there are flags that will  
13 tell it that, it will default to the standard RELAP5  
14 equation of state, no questions asked. If I'm running  
15 a TRACE native deck, the default is the old TRAC  
16 equation of state, but I can set in my name list  
17 variable options, request or run the RELAP5 equation  
18 of state with no problem. So they are both there.

19 CHAIRMAN RANSOM: Well, I'm a little  
20 confused what you said about the neutronics coupling.  
21 I thought you said it was a problem with minor changes  
22 in, say, density.

23 MR. MAHAFFY: Yes.

24 CHAIRMAN RANSOM: That resulted from the  
25 old TRAC equation of state.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. MAHAFFY: Yes, that's right. Yes. If  
2 I go into the old TRAC equation of state and I give  
3 it, you know, a pressure of 5 atmospheres and a  
4 temperature of 500 degrees calvin, I get a density.

5 CHAIRMAN RANSOM: Yes.

6 MR. MAHAFFY: And that density may be off  
7 by 2 or 3 percent. Okay. And that makes a difference  
8 to people doing the -- yes, for the RELAP. For an  
9 awful lot of transients it doesn't matter. But if  
10 I've got the neutron kinetics feedback, it will make  
11 a noticeable difference. The RELAP5 equation of  
12 state, that error is way, way down. It is much more  
13 precise because Glen did a very good job, you know,  
14 and his predecessors.

15 CHAIRMAN RANSOM: Well, why haven't you  
16 just incorporated that as inappropriate?

17 MR. MAHAFFY: It's there. You know, it is  
18 incorporated.

19 CHAIRMAN RANSOM: No, but I mean, you seem  
20 to be saying there are two, two options.

21 MR. MURRAY: We left the old in there,  
22 because the RELAP5 ones were slow, because the runs to  
23 be twice -- to run two to three times slower.

24 CHAIRMAN RANSOM: I can't believe that.

25 MR. MURRAY: That's why we left the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 original in.

2 MR. STAUDENMEIER: Yes. And actually, the  
3 bigger, the newer chips with the larger level 2 caches  
4 have made the difference between the old -- the new  
5 equations of state smaller and also, in RELAP5, there  
6 are still some users hanging onto the old equation of  
7 states for RELAP because of runtime speed for the same  
8 reason, because it runs --

9 CHAIRMAN RANSOM: When you say old  
10 equation of state, I'm not quite sure what you mean by  
11 that.

12 MR. STAUDENMEIER: Well, the tables.  
13 There's much smaller tables.

14 CHAIRMAN RANSOM: Right.

15 MR. STAUDENMEIER: There's an old and a  
16 new set of tables that can go into RELAP5. One is  
17 about a megabyte in size and I think the latest  
18 version of the new ones is up around 12 megabytes in  
19 size and there's people that still hang onto the old  
20 smaller runs to run with.

21 There's a TP or new and old tables that go  
22 into RELAP5. But I think in the future we are going  
23 to be switching over to the RELAP5 equation of state  
24 as default and, especially, now with these later chips  
25 we're seeing a much smaller runtime penalty.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   CHAIRMAN RANSOM: Well, they are  
2 reasonable, because it seemed to have a good  
3 theoretical basis and should lead to more consistent  
4 behavior, I would guess, as you cross these saturation  
5 curves.

6                   MR. MAHAFFY: I haven't seen any  
7 noticeable difference along those lines, but I agree  
8 with Joe. I think it's headed that way. One thing I  
9 noticed when this whole issue of runtime first arose,  
10 I took a little bit of a look at what was going on in  
11 the table evaluations with the RELAP5 equation and I  
12 saw some things that could definitely be improved and  
13 I don't think that has been done yet.

14                   My belief is that between changes in the  
15 nature of cache and some relatively minor improvement  
16 tasks to the RELAP equation of state, it's going to be  
17 a non-issue pretty soon and, you know, that will be  
18 it. You know, you turn it on, you get it, you know.

19                   MR. STAUDENMEIER: You know, one thing in  
20 NRC codes, every code has a different equation of  
21 state and every code has different materials  
22 properties, and one thing I would like to have move  
23 forward in the future is have an NRC steam properties  
24 library, an NRC materials property library that get  
25 maintained and kept up to date, that all the codes

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 would link to the same materials and equation of state  
2 libraries, so we don't have different ones in each  
3 code version.

4 MR. MAHAFFY: Okay. If I can move on,  
5 there was a comment in there about time levels in SETS  
6 and it says at a given time -- well, basically, the  
7 comment, to paraphrase it, said that there were many  
8 time level evaluations in the SETS method. And what  
9 I want to make clear is, in fact, at any given  
10 timestep you only are worried about old time  
11 quantities and new time quantities regardless of what  
12 step you're in.

13 Now, this is not a multi-step method that  
14 generates intermediate things. There is no  $n+1/2$   
15 values floating around there. Yes, because it's a  
16 two-step method, for a number of the state variables  
17 I will have values, two different evaluations of a  
18 given state variable at the new time. Okay? But they  
19 are evaluated in a way that is formally consistent  
20 with the differential equations in each step and  
21 within the order of accuracy of the methodology, they  
22 are the same numbers.

23 VICE CHAIR WALLIS: So your times are  
24 always an  $n$  or  $n+1$ ?

25 MR. MAHAFFY: That's right.

1 VICE CHAIR WALLIS: Your velocities and  
2 things seem to be  $j+1/2$ .

3 MR. MAHAFFY: No, the  $j+1/2$  is a spacial  
4 index. If you'll look at our indications, if you  
5 would like me to go back and I can put it up, but the  
6 standard rotation we use, and I think is consistent  
7 with RELAP5, is that your superscript is your time  
8 level and your subscripts are your spacial locations.

9 VICE CHAIR WALLIS: But you have  
10 velocities at  $j+1/2$ .

11 MR. MAHAFFY: Yes, those are --

12 CHAIRMAN RANSOM: Those are the sides.

13 MR. MAHAFFY: Those are the sides or the  
14 volume.

15 CHAIRMAN RANSOM: Or the volume.

16 VICE CHAIR WALLIS: Well, that makes sense  
17 to me if I have got a straight plate, but I'm not  
18 quite sure what  $j+1/2$  means when I have got changes of  
19 the area.

20 UNIDENTIFIED SPEAKER: Top, bottom.

21 CHAIRMAN RANSOM: You've got  $j$  and  $k$ .

22 MR. MAHAFFY: Yes, all that is is some  
23 indication. It's our way of saying it's the edge  
24 between volume  $j$  and volume  $j+1$ . That's what that  
25 notation means.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   VICE CHAIR WALLIS: It doesn't mean it's  
2 half way along?

3                   MR. MAHAFFY: No, it doesn't, it doesn't.  
4 It's just an index notation that I think an awful lot  
5 of people --

6                   VICE CHAIR WALLIS: So  $j$  is sort of the  
7 volume average throughout the thing,  $j$ ?

8                   MR. MAHAFFY: Yes, when you get a  
9 subscript  $j$  that's just an index for a volume.

10                  VICE CHAIR WALLIS: The average volume,  
11 volume average.

12                  MR. MAHAFFY: Yes.

13                  VICE CHAIR WALLIS: But  $1/2$  is some sort  
14 of area average at the boundary then?

15                  MR. MAHAFFY: Yes.

16                  VICE CHAIR WALLIS: Okay.

17                  MR. MAHAFFY: Now, they are saying the  
18 infamous beta. And I can understand anybody being a  
19 little concerned about this, and I will revisit the  
20 documentation to see if there's anything that I can do  
21 to make it clear.

22                         But the first thing you have got to  
23 understand about this quantity beta is that it is not  
24 part of SETS, per se. Okay? Beta is another one of  
25 these little engineering things that we did, again,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 consistent with the original partial differential  
2 equations to improve the stability of the overall  
3 solution when the timestep sizes were allowed to get  
4 substantially larger due to the fact that the SETS  
5 method removed the Courant stability limits. Okay?

6 And it's very analogous to the  
7 linearization that we did on the wall friction and the  
8 interfacial friction terms. Vic will probably  
9 remember. For example, when you're evaluating an  
10 interfacial friction term, you have got some  
11 coefficient multiplied by an absolute value of the  
12 relative velocity at the old time multiplied by the  
13 relative velocity at the new time. Okay.

14 And that worked pretty well as long as you  
15 were in semi-implicit land, although I have got a  
16 counter-example I will show you in a few minutes. But  
17 certainly, as soon as you're into SETS land, you don't  
18 want to do that and what you do is you start out and  
19 you say absolute value of  $V_{\text{new}}$ , relative value --  
20 well, then add the value of  $V_{\text{new}}$ . It's like a  $V$   
21 squared at the new time and you linearize that.

22 And we do the same thing down here with  
23 the  $V \Delta V$  operator. Okay. If you start out here,  
24 at some phase  $i+1/2$ , I have gone from  $J_s$  to  $I_s$  just to  
25 confuse you but, you know, this is just an indication

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that at phase between two volumes I am evaluating, in  
2 effect, my momentum transfer term here. And if I  
3 linearize that, okay, in terms of the Delta V between  
4 old time and new time, what I end up with is an  
5 expression that looks like this. Okay? That's just  
6 the result of linearizing this expression.

7 But you get into trouble here it turns  
8 out, because once I have gone through the  
9 linearization, okay, I have got in particular this  
10 term right here, which is the result of this new time  
11 velocity multiplying an old time velocity gradient, if  
12 you will, and treated in isolation this is just a  
13 forcing term in my momentum equation.

14 And if you look at this, if this little  
15 fellow right here goes negative on me, what will  
16 happen is I get into a situation where the faster I  
17 go, the more forces trying to act to accelerate me  
18 even more. It's a fundamentally unstable mode. And  
19 so there is this exception clause in here.

20 VICE CHAIR WALLIS: A derivative of old  
21 time velocity is a spacial derivative.

22 MR. MAHAFFY: Yes. This is a spacial  
23 derivative. So I have got this clause.

24 VICE CHAIR WALLIS: So the velocity is  
25 going to accelerate things.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. MAHAFFY: Yes, yes. So what happens  
2 to me is that I cannot use this term if this guy is  
3 negative. I mean, although formally this  
4 linearization should be more stable than a base  
5 evaluation of this kind of a mixture, say, I can do  
6 this kind of a mixture within the context of my two-  
7 step method. In classic RELAP land, that would just  
8 be old time on both of these terms.

9 But I have got to introduce a factor of  
10 beta that will kill this term under certain  
11 circumstances where it's actually destabilizing, and  
12 that's all that is. It's engineering. I have gone  
13 in.

14 CHAIRMAN RANSOM: What is beta, just a  
15 multiplier on that?

16 MR. MAHAFFY: Beta is just a multiplier on  
17 this part of the expansion, okay, and it's 01. If  
18 this thing is positive, so that I don't have this  
19 special destabilizing influence, then I just turn my  
20 beta on and I do my full up linearization and it is  
21 more stable. Any way I do it, it's still consistent  
22 with my underlying differential operator. But there  
23 are times when I got to turn beta to zero and I do and  
24 that's all it is.

25 VICE CHAIR WALLIS: It seems very strange

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to me that simply linearizing should give you  
2 instability if one of the things is negative, because  
3 I would think it would take care of itself.

4 MR. MAHAFFY: It can. It's because this  
5 is old time. If this thing had been new time, it  
6 wouldn't have mattered. I would have this full on  
7 linear form here.

8 VICE CHAIR WALLIS: You could have  
9 linearized it in some other way.

10 MR. MAHAFFY: Well, yes. If I'm working  
11 with a full on linear form, it's not an issue, as you  
12 say, because it does correct itself in the proper  
13 feedback, between the spacial feedback combined with  
14 the time feedback can correct itself. But when I do  
15 this linearization and I lock in during my timestep  
16 size this gradient and I can't get any feedback  
17 through that term here, it will destabilize. Okay?  
18 That's my hand waving argument for it. Okay.

19 VICE CHAIR WALLIS: So you have developed  
20 an engineering solution for it?

21 MR. MAHAFFY: It's my engineering  
22 solution. But again, I will tell you I have done the  
23 mathematical analysis. I am still, you know, formally  
24 consistent. My differential operator and my  
25 difference operator are formally consistent when I do

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 an error analysis of all of this stuff.

2 Some other issues were raised and were  
3 rather relative to momentum equations. There is a  
4 note of the fact that in TRACE documentation and in  
5 older TRAC documentation we keep referring to the  
6 motion equation, and that is something that I have  
7 intentionally done for over 25 years now to clearly  
8 indicate we're not evaluating the conservative form of  
9 the momentum equation. Okay. This is the non-  
10 conservative form.

11 But more than that, you know, if you think  
12 about it, momentum is a vector quantity. Okay. As  
13 soon as I try to model, approximate channel flow of  
14 any sort, particularly channel flow at variations in  
15 area and direction with a one dimensional equation, I  
16 can't conserve momentum. At the best what I'm doing  
17 is, in fact, I'm solving a kinetic energy equation.

18 VICE CHAIR WALLIS: I think what you're  
19 probably doing, you're following a streamline  
20 analysis.

21 MR. MAHAFFY: Yes.

22 CHAIRMAN RANSOM: Right.

23 MR. MAHAFFY: If you think about what  
24 happens, you know, when you go through the streamline  
25 analysis, really what you're doing is you're varying

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 the kinetic energy equation and that's how you have to  
2 look at these things.

3 VICE CHAIR WALLIS: There is a streamline.

4 CHAIRMAN RANSOM: Well, it's fine in 1-D  
5 and I agree with that, but what happens in 3-D, you  
6 know, and you have now to solve for all the vector  
7 components?

8 MR. MAHAFFY: That's right. But what  
9 happens in 3-D, if you look at the equations that we  
10 implement in 3-D, you know, they are formally  
11 consistent with the underlying partial differential  
12 equation.

13 VICE CHAIR WALLIS: They now have three  
14 scalars.

15 MR. MAHAFFY: Hm?

16 VICE CHAIR WALLIS: They now have three  
17 scalars and you can conserve these three scalars in 3-  
18 D.

19 MR. MAHAFFY: Yes.

20 VICE CHAIR WALLIS: Because you cannot  
21 force 1-D method to conserve what's really a  
22 multidimensional point.

23 MR. MAHAFFY: That's right and that's  
24 where things like lost coefficients come in.

25 VICE CHAIR WALLIS: There must be an awful

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 lot of bogus stuff developed where people have tried  
2 to do this.

3 MR. MAHAFFY: Yes. And you know, we have  
4 done it ourselves.

5 VICE CHAIR WALLIS: Because I think it  
6 sort of shoves the errors onto the other side of the  
7 equation. The fact that you have gotten errors in  
8 your left hand side, which is your balance over the  
9 volume, somehow they are transferred to lost  
10 coefficients on the other side of the equation. So  
11 you fix up the left hand side by empirically doing  
12 things to the right hand side.

13 MR. MAHAFFY: Yes. But again, see, my  
14 argument is that the empiricism on the right hand side  
15 when I do any kind of 1-D approximation, it's  
16 required.

17 VICE CHAIR WALLIS: You have got to be  
18 very careful. Otherwise, you get things like  
19 predicting a bend is a part and things like that.

20 MR. MAHAFFY: Yes. And I will tell you,  
21 and I'm not going to totally defend the momentum  
22 equations we have got here, because I haven't had time  
23 to go through on a term-by-term basis and give what  
24 you would consider to be a sound mathematical and  
25 physical justification term-by-term. We need to do

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that at some other time.

2 VICE CHAIR WALLIS: Somewhere in the  
3 documentation that eventually is written for this  
4 code, everything will become clear?

5 MR. MAHAFFY: Oh, it's all clearer now, if  
6 you look at it. We're not lying about what our  
7 equations are. Okay. The terms are all there.

8 VICE CHAIR WALLIS: But the rationale, the  
9 rationale will be clear.

10 CHAIRMAN RANSOM: The problem is with the  
11 rationale.

12 MR. MAHAFFY: Yes. I believe that we need  
13 a better rationale document.

14 VICE CHAIR WALLIS: Right.

15 MR. MAHAFFY: And that's something that  
16 needs yet to be done, but you can look at it. If you  
17 look at the difference equations, I will tell you  
18 right now that if I have got one dimensional flow and  
19 I have got reasonably continuous flow, I don't have  
20 discontinuities like large sludge or liquid coming  
21 through, I'm going to get a respectable answer  
22 compared to, you know, what your formal differential  
23 equations will say.

24 VICE CHAIR WALLIS: Going from a downcomer  
25 into a lower plan and there is a turn of 90 degrees of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 some sort and everything gets averaged across an area,  
2 the momentum equation gets varied as far as that goes.

3 MR. MAHAFFY: Yes. What happens to you is  
4 -- one thing you have got to understand about the  
5 three dimensional thing is that unless you're really  
6 doing full up CFD where you're properly resolving the  
7 surfaces and the boundary layers and everything else,  
8 there is always some approximation there. You're  
9 never going to get it right.

10 You know, the 3-D to the extent we do it  
11 in TRACE and in RELAP 3-D, it's always a very coarse  
12 nodalization. And when I come around that bend, what  
13 will happen in TRACE, Graham, is that you will get  
14 full loss. If I have got a flow that comes into my 3-  
15 D and makes a 90 degree turn, you will get full loss  
16 of that momentum, okay, because there is no --

17 VICE CHAIR WALLIS: What about the build-  
18 up of new momentum coming out the other end?

19 MR. MAHAFFY: The pressure. Okay.

20 VICE CHAIR WALLIS: There must be a higher  
21 pressure on the outside of the bend than on the  
22 inside.

23 MR. MAHAFFY: Yes.

24 VICE CHAIR WALLIS: But then 1-D can't  
25 represent that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. MAHAFFY: No, it's the 3-D. I'm  
2 talking about the 3-D issue.

3 VICE CHAIR WALLIS: Oh, the 3-D, yes.

4 MR. MAHAFFY: I'm talking about the 3-D.

5 VICE CHAIR WALLIS: I'm just saying the  
6 problems you get with 1-D.

7 MR. MAHAFFY: Yes.

8 VICE CHAIR WALLIS: Yes.

9 MR. MAHAFFY: Well, all you can do, the  
10 way it's handled again, it's a kinetic energy  
11 equation. The equations are formulated in a way in  
12 TRACE and they were in RELAP5, so that you are in the  
13 limit of incompressible steady-state flow. You will  
14 recover something that looks like a Bernoulli  
15 Equation.

16 VICE CHAIR WALLIS: That has always been  
17 a puzzle to me, because people write down like you did  
18 on the next slide something that looks like a momentum  
19 equation.

20 MR. MAHAFFY: Ah.

21 VICE CHAIR WALLIS: But then by hocus  
22 pocus it turns into an energy equation. You cannot do  
23 that. You have got to do something to it to turn it  
24 into an energy equation.

25 UNIDENTIFIED SPEAKER: You got to multiply

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it.

2 VICE CHAIR WALLIS: Multiply the velocity.

3 MR. MAHAFFY: If you go back a view graph  
4 here, basically, if you look at the derivation of the  
5 TRACE equations to a point, and I'm going to tell you  
6 the point on the next view graph, they really are  
7 consistent with a derivation of a kinetic energy  
8 equation in a sense. I'm structuring them in a way  
9 that my kinetic energy is preserved as I go through  
10 whatever, changes in area, bends in direction.

11 VICE CHAIR WALLIS: Except when there is  
12 a lost coefficient.

13 MR. MAHAFFY: Except when there is a lost  
14 coefficient.

15 VICE CHAIR WALLIS: You fix it up on the  
16 other side.

17 MR. MAHAFFY: You fix it on the other  
18 side, because I don't have the resolution. You know,  
19 unless I'm doing full up CFD, I don't know what's  
20 happening going around that bend.

21 VICE CHAIR WALLIS: Well, this is where  
22 you have got to follow it with things like added mass  
23 coefficient. And added mass coefficient, how does  
24 that figure into something like this energy equation  
25 you're talking about?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. MAHAFFY: We don't do added mass  
2 coefficients in TRACE. Okay? We have been up front  
3 about that all along. And you know, I have said  
4 actually here a couple of times before if somebody  
5 wants to get a pure example where it makes a  
6 meaningful difference, go for it and we'll put it in  
7 the code. And it will become less of an issue as we  
8 move forward with the advanced methods anyway.

9 But here, if you look down here at my  
10 final point, okay, we have got this quandary. When I  
11 have a side connection to my 1-D flow, I have really  
12 gone from trying to do a 1-D problem to a 2-D problem.  
13 Okay. And now, I have got to decide what am I going  
14 to do, because to some degree now, because it's a 2-D  
15 flow, I have got a vector quantity and I have got to  
16 worry about some of the issues there, that it's really  
17 momentum-related.

18 I could finesse it. I could do something  
19 that was more kinetic energy-related that would look  
20 more like Bernoulli flow at a fork with lost  
21 coefficients, but what we chose to do a long time ago,  
22 this was on the TRAC side and it carried through into  
23 TRACE, was actually at these kinds of 2-D problems, do  
24 something where we worry about out and out momentum  
25 equation conservation of momentum.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   We need to do that for jet pumps. We need  
2 to do that for situations where we have got ECC coming  
3 in at a right angle, the flow going through a main  
4 pipe, to do a reasonable job of capturing what's going  
5 on. If we don't do this, you can get into situations.  
6 RELAP5 in some of its earlier incarnations when you  
7 zipped two pipes together with a zipper connection,  
8 you could get these funny circulation paths build up  
9 and feed on themselves.

10                   It was because this exercise was not  
11 followed in the original RELAP5 derivation and there  
12 were some terms missing in the momentum equation that  
13 should have been there to account for the fact that I  
14 have got mass entering a flow stream without any  
15 momentum in that direction.

16                   CHAIRMAN RANSOM: Well, that was because  
17 they were just simple, one dimensional approximations.

18                   MR. MAHAFFY: Yes.

19                   CHAIRMAN RANSOM: That were never meant to  
20 be used that way.

21                   MR. MAHAFFY: Yes.

22                   CHAIRMAN RANSOM: But I have heard that in  
23 your vessel component that you have encountered  
24 artificial circulations as well.

25                   MR. MAHAFFY: Yes. And my belief is there

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 may still be some residual ones. As we have seen them  
2 come up --

3 CHAIRMAN RANSOM: Do you know why that is  
4 or, you know, what about the momentum formulation that  
5 causes that?

6 MR. MAHAFFY: The ones I saw in the past  
7 were situations where, when they were originally  
8 implemented way back when, circa -- the first 3-D was  
9 Dennis Liles went on a binge one weekend in 1977, put  
10 it all into the code. It then took me six months to  
11 get it working right.

12 CHAIRMAN RANSOM: You mean you have seen  
13 phenomena like that?

14 MR. MAHAFFY: Yes.

15 CHAIRMAN RANSOM: Dating back to those  
16 days?

17 MR. MAHAFFY: Yes. I will tell you up  
18 front that the first implementation of the momentum  
19 transfer terms were not such that they captured things  
20 quite correctly and you could get some of this spin-  
21 up. We fixed that in TRAC probably circa early 1980s.  
22 There has been at least one other thing that has  
23 arisen since then that was fixed and I don't remember  
24 the history there. I'm not going to claim that all  
25 spin-ups have been crushed in this code.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   VICE CHAIR WALLIS: I think it's a weird  
2 thing. I mean, if you take just a T-junction coming  
3 from the side you say it's coming in with no momentum,  
4 actually you have got a momentum balance. Then if you  
5 use your energy method, you don't lose that energy.  
6 You have Bernoulli's Equation and all that coming  
7 around.

8                   MR. MAHAFFY: Yes.

9                   VICE CHAIR WALLIS: You haven't lost that  
10 energy.

11                  MR. MAHAFFY: That's right.

12                  VICE CHAIR WALLIS: Although, you have  
13 apparently lost some momentum. So you know, you got  
14 to be careful.

15                  MR. MAHAFFY: But it's worse than that if  
16 you're not careful.

17                  VICE CHAIR WALLIS: Unless you mix them,  
18 you probably need to follow two Bernoulli Equations.  
19 You have got two streams in the pipe with different  
20 velocities. That's what you do really consistently.

21                  MR. MAHAFFY: Yes, well, let me tell you  
22 what the worst case scenario is. This happened in  
23 RELAP5 and, to be fair, it happened in very early  
24 versions of TRAC also, is that when you're in the  
25 situation of this so-called motion equation and to get

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a feel for the motion equation, look at this equation  
2 down here at the bottom of the view graph where, you  
3 know, we're doing a  $dV/dt$  not  $d \text{ Rho } Vdt$ . Okay? It's  
4 legitimate. Okay. I can write this equation and  
5 differentiate.

6 VICE CHAIR WALLIS: I don't understand  
7 that at all. Why should  $dVt^{j+1/2}$  depend only on a  $j-$   
8  $1/2$ ?

9 MR. MAHAFFY: Ah.

10 VICE CHAIR WALLIS: I don't understand  
11 that.

12 MR. MAHAFFY: Now, let's get to that in a  
13 minute.

14 VICE CHAIR WALLIS: It started off  
15 depending on both of them.

16 MR. MAHAFFY: Yes.

17 VICE CHAIR WALLIS: But now it only  
18 depends on --

19 MR. MAHAFFY: No, no, I will get to that  
20 in a minute.

21 VICE CHAIR WALLIS: The velocity here only  
22 depends on the area there. It doesn't make sense.

23 MR. MAHAFFY: Yes, it's a game, but it's  
24 a legitimate game again within the order of accuracy  
25 of the methods and I will explain that. I'm doing a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 digression here. If I have got a motion equation  
2 form, the place where people get into trouble with  
3 side junctions is the following, and that is okay, I  
4 have got a right angle junction. I have got flow  
5 coming in at right angle to my main flow through a  
6 pipe. Ah, okay, it's at right angles. There is no  
7 momentum source, so I don't put any source term in  
8 this equation. And if you go through the derivation,  
9 that's wrong.

10 It's true you don't put a source term in  
11 a pure, fully conservative momentum equation, but when  
12 you go to this form of the equation there has to be  
13 something that looks like a source term to account for  
14 the fact that mass has entered the flow without  
15 corresponding velocity in the direction of the main  
16 flow stream.

17 VICE CHAIR WALLIS: And therefore, it has  
18 to be accelerated up to that velocity.

19 MR. MAHAFFY: Yes. When I write down an  
20 equation form that, you know, is your rod  $d$  velocity,  
21  $d$  time plus  $V \Delta V$ , etcetera, if I don't add some  
22 kind of a term in there, I'm not obeying the laws of  
23 physics when I have got a side junctions, because in  
24 the absence of the --

25 VICE CHAIR WALLIS: This isn't just a side

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 junction, is it,  $j-1/2$ ?

2 MR. MAHAFFY: I will get to this in a  
3 minute. Okay? I'm one step behind you. Okay?

4 VICE CHAIR WALLIS: Well, we could spend  
5 forever doing this.

6 MR. MAHAFFY: We could spend forever, but  
7 let me roughly go through this. I assume you buy this  
8 first equation in the middle roughly in terms of  
9 momentum transfer.

10 VICE CHAIR WALLIS: I would have to see  
11 the figures to see what it refers to.

12 MR. MAHAFFY: What it is --

13 VICE CHAIR WALLIS: But it makes more  
14 sense than the second equation.

15 MR. MAHAFFY: Yes. The first equation,  
16 all that is is I have drawn some kind of a momentum  
17 volume and it's donor cell. Okay?

18 VICE CHAIR WALLIS: Yes. You have got it  
19 going in and coming out.

20 MR. MAHAFFY: Yes.

21 VICE CHAIR WALLIS: And staying inside.

22 MR. MAHAFFY: Yes. In effect, it's a  
23 donor cell volume and I'm saying that the downwind  
24 velocity is representative of what's going on in that  
25 one volume, and I have got the momentum flux out. I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have got the momentum flux in. This next equation,  
2 okay, the trick I play is as follows. I take over  
3 here in this term, I just do a chain rule  
4 differentiation.

5 VICE CHAIR WALLIS: I understand that.

6 MR. MAHAFFY: And then I go in and I take  
7 my mass equation for this volume  $j$  and I write the  
8 flux terms of mass in and out of that, okay, and I  
9 combine them all with these flux terms multiplied  
10 here. It's all just Algebra.

11 So what I have done is I have done a chain  
12 rule breakup of this. I have written my finite volume  
13 form for the mass equation in a formal way and I have  
14 added everything together, then I have divided by my  
15 volume times  $1$  minus  $\text{Alpha Rho } 1$  that was sitting  
16 right here. And this is the end result.

17 VICE CHAIR WALLIS: It doesn't make sense.  
18 Anyway, let's not talk about it now.

19 MR. MAHAFFY: Okay. If you would like, I  
20 will give you a detailed step-by-step derivation of  
21 that.

22 VICE CHAIR WALLIS: Okay. That doesn't  
23 seem to make sense to me, how a  $j+1/2$  can disappear  
24 completely from the equation.

25 MR. MAHAFFY: It's magic, but it happens.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 VICE CHAIR WALLIS: Well, that's okay.

2 MR. MAHAFFY: I will give you a step-by-  
3 step if you would like.

4 VICE CHAIR WALLIS: Yes.

5 MR. MAHAFFY: I have got it somewhere. I  
6 can find your email address and I will email it to you  
7 or would you like to me to email --

8 VICE CHAIR WALLIS: Okay.

9 CHAIRMAN RANSOM: This donoring the  
10 momentum flux, you know, which has been an argument  
11 for a long time, should you donor or should you  
12 average across the junction.

13 MR. MAHAFFY: Yes, in this derivation  
14 we're donoring the momentum flux.

15 CHAIRMAN RANSOM: All right.

16 MR. MAHAFFY: Okay.

17 CHAIRMAN RANSOM: Which is the momentum  
18 flux is all due to whatever is entering the volume.

19 MR. MAHAFFY: Yes, yes. Okay. I will  
20 send a copy to Ralph for everybody and I will send a  
21 direct copy to you, Graham, so you have got the full  
22 how do we get from here to here. By the way, this  
23 derivation also exists in a hard to find Los Alamos  
24 document that Bob Steinke wrote a number of years ago  
25 when he documented the T momentum source terms in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 TRAC, but I have lost my copy of that. I will have to  
2 reproduce this. I did this original derivation 25  
3 years ago or more anyway and it's in old now.

4 Basically, you do another substitution,  
5 which you will have to see the step. It will confuse  
6 you even more than the last one did. And you end up  
7 with an expression that looks like this. I show you  
8 what the T contribution to that is and that is how we  
9 do the side junctions with a lot of steps out that I  
10 will give you. Okay?

11 And I also show you how we do a linearized  
12 implicit form of the T-junction terms. But yes, we  
13 have taken a step there. We have tried to do  
14 something that, in some formal sense, will conserve  
15 momentum when we have got something that looks like a  
16 local 2-D problem.

17 Let me talk briefly about where we're  
18 headed with the numerics and why we're headed that  
19 way.

20 VICE CHAIR WALLIS: Well, this sort of  
21 thing concerns me, because you're going to come up  
22 with documentation two years from now, which says this  
23 is the way we do things and that is going to be it.  
24 And then some, I won't use any adjectives, ACRS Member  
25 decides to look at this and says gee whiz, something

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 is really strange about what you have done here and  
2 says I don't think it's right, what are you going to  
3 do?

4 Are you going to say I don't believe that  
5 guy. He can't hold up the whole issuance of this  
6 code, because he has now raised a problem with a basic  
7 equation. That's because you have never had us review  
8 it before.

9 MR. MAHAFFY: What I'm going to do is  
10 this. I'm going to, as my first step, I will go back  
11 to the official current version of the Theory Manual  
12 and look at the section of the manual that documents  
13 these steps that I just summarized in two view graphs.

14 VICE CHAIR WALLIS: Right.

15 MR. MAHAFFY: To see how thorough it is.  
16 I mean, if it's complete, and I think it won't be, you  
17 know, I will just send it to you as is. If it's not  
18 complete, not only am I going to give a document to  
19 you, but I'm going to use the formal TRACE update  
20 procedure and whatever I do for you is going to become  
21 part of the Theory Manual immediately. All right? So  
22 it will exist online as part of the Theory Manual and,  
23 hopefully, that will kill two birds with one stone for  
24 you.

25 VICE CHAIR WALLIS: Because I think I know

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 what the mass conservation equation is and I can see  
2 how you do the manipulation, but I can't see how a  
3  $j+1/2$  disappears.

4 MR. MAHAFFY: Okay. You will see it.  
5 There are two steps in between here and I apologize.  
6 I was trying to summarize the key terms in here rather  
7 than give to you the derivation.

8 VICE CHAIR WALLIS: Okay.

9 MR. MAHAFFY: Where we're headed.  
10 Basically, SETS itself was developed in the late 1970s  
11 just as a quick way to remove the Material Courant  
12 stability limit. The real history behind that, and I  
13 may be the only one that remembers this anymore, if  
14 you go back to the original TRAC Large Break Loss of  
15 Coolant Accident Code, the way we dealt with breaks  
16 where the flow velocities was very high was we  
17 actually had "a fully implicit" component available.

18 Okay. You could flip a flag and you could  
19 get a pipe for however long you wanted where the mass  
20 energy and motion equations were evaluated fully  
21 implicitly with a caveat that we were still doing old  
22 time on the coefficient terms, and it's very analogous  
23 to what went on in RETRAN, for example, in  
24 retranslator incarnations.

25 But based on the experience we had there,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 what I saw was that as we moved into the era of small  
2 break LOCAs and I saw that coming even before Three  
3 Mile Island, it was natural that we were going to have  
4 to do those kinds of calculations.

5 The amount of effort that was going to be  
6 necessary to change the structure of the code and  
7 introduce the new coding to go to a real fully  
8 implicit numerical method was going to be rather  
9 extreme, and the cost per timestep for fully implicit  
10 method was going to be a big step also. And I woke up  
11 in the middle of the night with a set of equations in  
12 my head that became SETS as a way to stabilize the  
13 semi-implicit method that was already there.

14 VICE CHAIR WALLIS: Thinking about it, I'm  
15 sorry, I'm going back to a point that Vic made  
16 earlier. I think you need a review group that isn't  
17 contaminated by all the past thinking on this problem.  
18 You need a review group of really smart field  
19 dynamists, if they exist in the world, who have not  
20 been contaminated by the previous work of RELAP or  
21 TRAC or something and you want them to sit, have them  
22 review some of this basic stuff and see what they say.

23 MR. MAHAFFY: Look over at some of those  
24 guys. I don't disagree with it.

25 VICE CHAIR WALLIS: The last thing you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 want is for them to shoot something down at the last  
2 minute when you are ready to issue the code. It  
3 should happen now.

4 MR. MAHAFFY: The one thing, let me give  
5 you one word of caution to that, in that when you get  
6 into field dynamists who are uncontaminated by RELAP  
7 and TRAC, generally what you are getting into are  
8 people who have done single phase CFD. And one  
9 experience that I have had over the years is that  
10 people who do single phase CFD are very naive about  
11 the kinds of problems that you get into when you go  
12 two phase. So they are good to a point.

13 VICE CHAIR WALLIS: Yes.

14 MR. MAHAFFY: It's very tough to pull  
15 together the kind of uncontaminated group of experts  
16 with the kind of knowledge of two phase that you need.

17 VICE CHAIR WALLIS: Well, I think it's  
18 very tough to get those who will agree with you,  
19 because if you had asked George Batchelor, who is a  
20 pretty revered member of the community before, I think  
21 he may have died by now, certainly before he had some  
22 problems with old age, he was saying 20 years ago a  
23 lot of this stuff is nonsense.

24 MR. MAHAFFY: A lot of people have said  
25 that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   VICE CHAIR WALLIS: Right. I don't think  
2 we can just brush it off.

3                   CHAIRMAN RANSOM: I think it's tough to  
4 find people to serve that role, but I think it would  
5 be worth looking for a small group who could do that,  
6 that are not associated with say TRACE or RELAP5 and  
7 be knowledgeable enough to shed some light on that.

8                   VICE CHAIR WALLIS: People generally would  
9 be respected, I think, by a very broad group of  
10 professional people.

11                  MR. MAHAFFY: Anyway, let me tell you  
12 where we are headed, so we can think about the group.  
13 Okay. Because to me, SETS is a thing of the past for  
14 large part. It did its job, but that wasn't --

15                  VICE CHAIR WALLIS: Just call it SETS so  
16 it gets into the record spelled properly.

17                  MR. MAHAFFY: Yes. But to me when I  
18 created that thing, it was a patch until we could get  
19 into a log where we could run true, fully implicit  
20 calculations. Okay. The French with CATHARE went  
21 that direction and they have been pretty darn  
22 successful. Basically, you need to look at your  
23 implicitness at two levels. There is the issue of the  
24 coefficients and as you will see, we can deal with  
25 that within the context of the current numerical

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 methods fairly directly, and we have already dealt  
2 with part of it.

3 And then there is the question of stepping  
4 up to the issue of evaluating your transfer terms  
5 implicitly to bring it up to a fully implicit level.  
6 And as I said, only the French with CATHARE have  
7 really stepped up and done the full blown problem. It  
8 took them a long time. You can't kid yourself.  
9 There's a lot of engineering that goes on with this.

10 The more non-linear terms you get in your  
11 equation set, the more problems you get with  
12 convergence and the more little bits of tricks you've  
13 got to come up with when you sit down and make your  
14 initial guesses on the Taylor series expansions that  
15 are fundamental to your iterative solutions of your  
16 non-linear equations.

17 What I want to do is show you something.  
18 Some of you may have seen this before. It's an  
19 example of something I used as a test problem when I  
20 was first looking at this business of linearized  
21 implicit terms for interfacial drag. And the little  
22 plots I'm going to show you actually probably came out  
23 of RELAP5 rather than out of TRAC or TRACE. But there  
24 is an important lesson here. There we go.

25 VICE CHAIR WALLIS: Well, what is the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 geometry of this column?

2 MR. MAHAFFY: This is a very simple  
3 column. I don't remember the cross sectional area.  
4 That doesn't really matter to some degree. It's a  
5 straight vertical column. My recollection was it was  
6 about 10 feet high and stagnant water injected bubbles  
7 at the bottom and you'll see a plot of the void  
8 fractions. But it was a low void fraction, 2 or 3  
9 percent. And you let the bubbles rise up through the  
10 column.

11 VICE CHAIR WALLIS: They grow?

12 MR. MAHAFFY: Yes, they grow as the  
13 pressure changes. Again, it was only about 10 feet of  
14 water.

15 VICE CHAIR WALLIS: There's no face  
16 change?

17 MR. MAHAFFY: There is no face change.  
18 It's an air bubble problem. I wanted to cleanly  
19 separate issues here. I don't want the face change  
20 contaminating what is going on with the interfacial  
21 drag on the bubbles.

22 VICE CHAIR WALLIS: From what I know about  
23 bubbles, it's rather remarkable, they go in at 1.6  
24 meters a second.

25 MR. MAHAFFY: Yes, up here? Isn't that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 pretty impressive? It's an instability. Okay. It's  
2 an instability based off of this term that you get.

3 VICE CHAIR WALLIS: It must be a momentum  
4 equation of some sort.

5 MR. MAHAFFY: Yes, you've got a momentum  
6 equation.

7 VICE CHAIR WALLIS: You've got no added  
8 mass. You've got to have added mass when you're  
9 dealing with a bubble, because all that's inertia is  
10 in added mass.

11 MR. MAHAFFY: As long as the bubble is not  
12 accelerating.

13 VICE CHAIR WALLIS: But it is, because  
14 you've got a T velocity.

15 CHAIRMAN RANSOM: Well, is this a problem  
16 with linearization of the interfacial drag where  
17 you've got absolute value of old time velocity  
18 difference times new time velocity difference?

19 VICE CHAIR WALLIS: It's going to be  $V_{dt}$ .  
20 You've got to put a  $\rho$  in front of that.

21 CHAIRMAN RANSOM: And the old time  
22 velocity difference goes to zero so the drag goes to  
23 zero?

24 MR. MAHAFFY: Okay.

25 VICE CHAIR WALLIS: I think the problem is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 your bubble has no inertia, so any force out of bounds  
2 will give it an infinite acceleration.

3 MR. MAHAFFY: All right. Here's the deal.  
4 Now, the root of the problem is this. You've got,  
5 numerical, a forcing term here for your drag that's  
6 based on an old time.

7 VICE CHAIR WALLIS: Right.

8 MR. MAHAFFY: And a new time. Okay. And  
9 I actually, at one point, did a derivation to show you  
10 can derive some kind of a stability bound on this, but  
11 that term is fundamentally numerically unstable.

12 VICE CHAIR WALLIS: That's supposed to  
13 balance gravity essentially in this problem.

14 MR. MAHAFFY: In this problem, that's what  
15 is going to happen.

16 VICE CHAIR WALLIS: And if it is not quite  
17 in balance, your bubble which has no inertia, because  
18 you haven't given it any added mass --

19 CHAIRMAN RANSOM: It shoots up to high  
20 velocity.

21 VICE CHAIR WALLIS: It shoots up to high  
22 velocity.

23 CHAIRMAN RANSOM: Now, the next line --

24 VICE CHAIR WALLIS: Now, the next time it  
25 has a big term.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RANSOM: Yes.

2 MR. MAHAFFY: Yes, even --

3 VICE CHAIR WALLIS: Give it some added  
4 mass.

5 MR. MAHAFFY: Ignore this. Okay. Pretend  
6 this doesn't happen, because it does drop down. But  
7 even after it has dropped down, this business has to  
8 do with the graphic added frequency. What is  
9 happening is you have got an envelop here, you see  
10 those velocities --

11 VICE CHAIR WALLIS: Yes.

12 MR. MAHAFFY: -- oscillating up and down?  
13 You know, there is no question of crossing lines or  
14 anything. It has established some kind of mean  
15 velocity it wants to run at and it is oscillating back  
16 and forth across that. The second line, I've gone in  
17 and I've dropped the timestep size, done nothing else.  
18 All I've done is I've set the timestep size down to a  
19 millisecond, which was under the threshold for this  
20 particular instability and it comes up and everything  
21 is smooth.

22 VICE CHAIR WALLIS: What's the terminal  
23 velocity of this bubble?

24 MR. MAHAFFY: Now, you're getting a  
25 terminal velocity here of about .15 meters a second.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   VICE CHAIR WALLIS: That's what I could  
2 calculate on the back of an envelope.

3                   MR. SIEBER: Yes.

4                   MR. MAHAFFY: Yes.

5                   CHAIRMAN RANSOM: Okay.

6                   MR. MAHAFFY: Yes. You could do that if  
7 you had --

8                   VICE CHAIR WALLIS: And that's the right  
9 answer?

10                  MR. MAHAFFY: I hope so. I don't remember  
11 what the correlations were in here.

12                  CHAIRMAN RANSOM: Why did you say you've  
13 got this with RELAP5?

14                  MR. MAHAFFY: Yes, I believe these plots  
15 were from RELAP5. I've got the same results out of  
16 old versions of TRAC.

17                  CHAIRMAN RANSOM: What about TRACE?

18                  MR. MAHAFFY: TRACE? Well, TRACE does the  
19 linearized terms and this is gone.

20                  (Whereupon, at 5:00 p.m. the meeting  
21 continued into the evening session.)  
22  
23  
24  
25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 E-V-E-N-I-N-G S-E-S-S-I-O-N

2 5:00 p.m.

3 CHAIRMAN RANSOM: All right.

4 MR. MAHAFFY: RELAP5 now has the  
5 linearized implicit drag term.

6 CHAIRMAN RANSOM: So it tends to damp  
7 this?

8 MR. MAHAFFY: It will get this answer  
9 right here. Okay? Okay. If you run the linearized  
10 implicit, it will get this same answer, even at  
11 substantially higher timestep sizes. A tenth of a  
12 second.

13 CHAIRMAN RANSOM: Will it oscillate like  
14 that?

15 MR. MAHAFFY: No, it will not.

16 CHAIRMAN RANSOM: Why did it take 10  
17 seconds oscillating unrealistically?

18 MR. MAHAFFY: Part of that is an artifact  
19 and you will see it in the next view graph. You see  
20 that?

21 CHAIRMAN RANSOM: It's a void fraction  
22 that's so low. Is that what it is?

23 MR. MAHAFFY: Yes, you know, there is less  
24 void there. As the void fraction settles out to its  
25 final value, this right here is just numerical

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 diffusion really operating.

2 CHAIRMAN RANSOM: You said something, on  
3 that previous slide you had two timesteps. One was  
4 .001 and one was .02.

5 MR. MAHAFFY: Yes.

6 CHAIRMAN RANSOM: And the solid curve, I  
7 guess, is .001.

8 MR. MAHAFFY: Yes.

9 CHAIRMAN RANSOM: So there were no  
10 oscillations in that case.

11 MR. MAHAFFY: That's right.

12 CHAIRMAN RANSOM: Sufficiently small.

13 MR. MAHAFFY: Yes.

14 CHAIRMAN RANSOM: That's only when you get  
15 the larger timeset you get all numerical.

16 VICE CHAIR WALLIS: In a way you just stop  
17 bubbling at the bottom of the column. You get an  
18 expansion wave and the first bubble gets free of the  
19 other bubbles and goes rushing out at the highest  
20 velocity of all.

21 MR. MAHAFFY: Yes.

22 VICE CHAIR WALLIS: Expansion wave of void  
23 fraction. That's what's probably happening in the  
24 beginning of this whole thing.

25 MR. MAHAFFY: Yes, and then you're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 triggering --

2 CHAIRMAN RANSOM: These are all numerical.

3 MR. MAHAFFY: Yes, but this is --

4 VICE CHAIR WALLIS: It's not entirely  
5 numerical. The bubble velocity at the top is higher  
6 at the beginning, because the bubble is on its own.  
7 When the other bubbles catch up and make a higher void  
8 fraction, the bubble velocity drops.

9 CHAIRMAN RANSOM: If I interpret this  
10 right, the bubble in the small timestep case took 10  
11 seconds to reach the top station where you are looking  
12 at it.

13 MR. MAHAFFY: Yes.

14 CHAIRMAN RANSOM: I'm saying that the  
15 trend is be back here when it was predicting these  
16 large velocities that reach the top went sooner.

17 VICE CHAIR WALLIS: Well, others have a  
18 velocity at the top of the column when it isn't there.

19 CHAIRMAN RANSOM: Well, it got there.

20 MR. MAHAFFY: Yes, it got there.

21 CHAIRMAN RANSOM: Because of these  
22 velocities.

23 MR. MAHAFFY: You see, it does have a zero  
24 velocity.

25 CHAIRMAN RANSOM: It took this long.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 VICE CHAIR WALLIS: Well, I'm saying it  
2 does have a higher velocity than the other bubbles.

3 CHAIRMAN RANSOM: Well, only numerically.

4 VICE CHAIR WALLIS: No, no, no, it  
5 physically does, too.

6 MR. MAHAFFY: Yes.

7 VICE CHAIR WALLIS: Because there's more  
8 drag when you get more bubbles side by side.

9 MR. MAHAFFY: My guess is that the  
10 physical models in either RELAP5 or TRACE are not  
11 sophisticated enough to catch the phenomena you are  
12 talking about.

13 VICE CHAIR WALLIS: Well, this is a very  
14 simple example.

15 MR. MAHAFFY: Yes.

16 VICE CHAIR WALLIS: We should be able to  
17 represent.

18 MR. MAHAFFY: But two things I want you to  
19 take away from this example, I mean, regardless of  
20 what's going on. The first is, okay, explicit  
21 evaluation of certain terms results in numerical  
22 instabilities. They tend to be bounded oscillations.  
23 And secondly, the mean value of these bounded  
24 oscillations you have no guarantee that it's the  
25 correct mean value. And you get a lot of analysts,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I've seen this happen over my entire career, saying  
2 you'll get these things, any of these codes that you  
3 run, you get these funny oscillations in there.

4 The worst thing I hear analysts say is oh,  
5 gee, look there is jitter in the experiment and there  
6 is jitter in our calculations. We're doing great.  
7 You know, it's two different things all together. But  
8 the other thing they assume is that there are  
9 oscillations and their results are oscillating about  
10 the correct mean value. And you are not assured of  
11 that with this class of instability. So it's  
12 something you want to avoid.

13 VICE CHAIR WALLIS: Do you do this with  
14 your seniors? I mean, do you have them run TRACE on  
15 very simple problems like this one and see if there  
16 are any anomalous results?

17 MR. MAHAFFY: Well, that's the whole  
18 purpose of this class.

19 VICE CHAIR WALLIS: You see what happens  
20 in most text books is there are, you know, a hundred  
21 problems per chapter, which illustrate the methods.  
22 And if TRACE is a really mature code, you ought to be  
23 able to have a whole lot of simple, simple problems  
24 illustrating the method which give reasonable answers.

25 MR. MAHAFFY: See the purpose of this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 class I teach is not necessarily to focus on the  
2 reasonable answers. It's to inform students of the  
3 kind of problems that you get into with numerically-  
4 based simulations, so that they can make good solid  
5 engineering judgments and not just say ah, yes, the  
6 computer said this, here is truth.

7 VICE CHAIR WALLIS: But NRR isn't  
8 necessarily going to do that when they use TRACE.

9 MR. MAHAFFY: Well, send them to Penn  
10 State for a semester. Anyway, okay, in terms of --

11 VICE CHAIR WALLIS: There is one anomaly  
12 you should --

13 MR. MAHAFFY: It's one anomaly. It's just  
14 one example. You know, there are lots of  
15 instabilities you get off of heat transfer  
16 coefficients. Right now, in terms of getting things  
17 more implicitly evaluated, the first step that we have  
18 taken is there is a switch in TRACE that you can flip  
19 and you will evaluate, not quite fully implicitly,  
20 I'll tell you the caveat in a second, the interfacial  
21 heat transfer coefficients. Okay.

22 And not quite as simply that right now  
23 we're not evaluating any contributions from velocities  
24 implicitly, that phases into another part of  
25 generating elements to the Jacobian that I didn't want

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to do right away.

2 VICE CHAIR WALLIS: Is the bubble detached  
3 from the top of this column or and if you had a  
4 foaming mixture, the bubble would never burst.

5 MR. MAHAFFY: Yes.

6 VICE CHAIR WALLIS: How do you get it out  
7 of this column?

8 MR. MAHAFFY: The column, there's a  
9 pressure boundary condition that it just wanders into.

10 VICE CHAIR WALLIS: Something that lets it  
11 wander out?

12 MR. MAHAFFY: It just wanders out into a  
13 pressure boundary condition.

14 VICE CHAIR WALLIS: If you had a foaming  
15 solution, it would never get out of the liquid. How  
16 does it know whether it is a foaming solution or not?

17 MR. MAHAFFY: Physics aren't smart enough  
18 in this code to do that.

19 VICE CHAIR WALLIS: It seems to me it's  
20 very important.

21 MR. MAHAFFY: For this example, no.

22 VICE CHAIR WALLIS: But if I take two  
23 columns, one soapy water and one is still water and I  
24 bubble air into one and bubble air into the other, I  
25 get complete different answers.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. MAHAFFY: Yes, I'm sure you do.

2 VICE CHAIR WALLIS: Well, there's got to  
3 be something that's predictable with TRACE.

4 MR. MAHAFFY: I would have to change  
5 properties in TRACE. I don't have any soapy mixture  
6 properties in TRACE right now.

7 CHAIRMAN RANSOM: TRACE has the numbers  
8 knowledge --

9 VICE CHAIR WALLIS: No, no, it's just a  
10 question of whether or not the bubble bursts at the  
11 top.

12 CHAIRMAN RANSOM: Well, that's different  
13 circumstances.

14 MR. MAHAFFY: Yes. Anyway, so right now,  
15 we can run with these implicit interfacial heat  
16 transfer coefficients. It is not the default option  
17 in the code and, in fact, users can't get at it right  
18 now, because there are going to be problems. Okay.  
19 The biggest problem I found when I implemented this  
20 and submitted it, I ran a full regression test set.  
21 Understand that every time we create a new code  
22 version, there are like 1,400 test problems that are  
23 run before the update is accepted.

24 I ran those 1,400 test problems and I  
25 think something like two-thirds of them ran and then

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 one-third of them just died on me. I started working  
2 my way through the ones that died and I got through  
3 about 20 of them and in every case it had to do with  
4 the way the TRACE correlation package right now deals  
5 with condensation of a sub-cooled vapor. That needs  
6 to be fixed. There are some other outriders.

7 Joe Staudenmeier has found some cases that  
8 are not related to that. I found one just the other  
9 day. We have just got to slowly go through there.  
10 When you are doing fully implicit evaluations of  
11 things, you don't like to have discontinuities.  
12 Right? Sometimes even abrupt changes in the wrong  
13 direction.

14 VICE CHAIR WALLIS: Let me see if what you  
15 are telling us is that TRACE is still in this other  
16 research stage and it's not in the stage of being a  
17 tool.

18 MR. MAHAFFY: It is a tool.

19 VICE CHAIR WALLIS: An engineering tool.

20 MR. MAHAFFY: It is an engineering tool to  
21 the extent TRAC or RELAP were engineering tools. But  
22 now I'm talking --

23 VICE CHAIR WALLIS: So we're talking  
24 fundamental things which can lead to quite anomalous  
25 answers.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. MAHAFFY: In terms of the picture I  
2 just showed you, what I am telling you is that I  
3 resolved that one, but there are fundamental things.

4 VICE CHAIR WALLIS: With the initial  
5 timestep.

6 MR. MAHAFFY: No.

7 VICE CHAIR WALLIS: No?

8 MR. MAHAFFY: We did a linearized implicit  
9 form of that and I'll be happy to show you the  
10 equations if you want to see them. I've got them in  
11 an appendix here.

12 VICE CHAIR WALLIS: I mean, the real thing  
13 you need is an added mass.

14 MR. MAHAFFY: In this case, I would argue  
15 that I don't think the added mass would change this.

16 VICE CHAIR WALLIS: You put in a bubble.

17 MR. MAHAFFY: It doesn't. Okay?

18 VICE CHAIR WALLIS: You put in a bubble  
19 density of zero, you've got infinite acceleration.

20 MR. MAHAFFY: No. Let me remind you those  
21 curves were generated with RELAP5. It hasn't had a  
22 mass term in it.

23 VICE CHAIR WALLIS: Oh, so that's --

24 MR. MAHAFFY: Okay?

25 CHAIRMAN RANSOM: So it may or may not.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I don't know what they have in it. Do you know?

2 MR. MAHAFFY: When this was run the added  
3 mass was definitely there.

4 VICE CHAIR WALLIS: Okay. Well, then --

5 CHAIRMAN RANSOM: It is there in mod 2,  
6 but I don't know if they have it on mod 3.

7 MR. MAHAFFY: It's in mod 3 also.

8 VICE CHAIR WALLIS: It's not in TRACE.

9 MR. MAHAFFY: No.

10 VICE CHAIR WALLIS: You said you didn't  
11 touch it with a barge pole.

12 MR. MAHAFFY: Yes, I get the same answers  
13 with TRACE, the same oscillations of RELAP5 in TRACE,  
14 so it didn't make any difference here. Now,  
15 understand that when we're talking about this, we're  
16 now into step 2. And again, I'm telling you we've got  
17 this overlap between the consolidation and the  
18 advanced development. I'm not talking to you about  
19 advanced development. Yes, we're in exploratory work.  
20 Only the French have been here before and they have  
21 done it in a slight different context.

22 We are going to have to work through a  
23 number of numerical issues and correlation package  
24 issues to get all of this fully implicit technology to  
25 work for us in our numerical methods. When it is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 done, you're going to see much better behavior.  
2 You're going to be seeing much higher timesteps, much  
3 more reliable answers, because you don't have these  
4 strange boundary instabilities that are doing  
5 unpredictable things to you.

6 Right now, what I'm working on, and I  
7 would be working on if I wasn't sitting here in front  
8 of you, is getting the implicit evaluation of the mass  
9 and energy flux terms. Very shortly, probably next  
10 week, I want to get going on the implicit evaluation.

11 CHAIRMAN RANSOM: It already is implicit  
12 now, right?

13 MR. MAHAFFY: Huh?

14 CHAIRMAN RANSOM: Well, on the mass and  
15 energy terms, the velocities are implicit.

16 MR. MAHAFFY: The velocities are implicit,  
17 but, you know, if you just look --

18 CHAIRMAN RANSOM: Density and void  
19 fraction.

20 MR. MAHAFFY: The density is explicit in  
21 the semi-implicit step and the only way it becomes  
22 implicit is with that corrector step.

23 CHAIRMAN RANSOM: Yes.

24 MR. MAHAFFY: What I'm talking about now  
25 is a true full implicit method. There is just one

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 step. And in that one step, the densities and the  
2 velocities are all implicit in the flux term. Okay?

3 CHAIRMAN RANSOM: Okay.

4 MR. MAHAFFY: And that's, you know, RETRAN  
5 does that.

6 CHAIRMAN RANSOM: There's some iterative  
7 process you have to go through to get to that point.

8 MR. MAHAFFY: Sure. It's a non-linear set  
9 of equations and we have to solve the non-linear  
10 equations. No question about it. There is also the  
11 question of getting implicit evaluation of the wall  
12 heat transfer. Part of that has been done by Jay  
13 Spore. I've got to get his update adapted and into  
14 the code, and then I've got to push it on to finish  
15 the job.

16 The last stage of this development will be  
17 to engage a full implicit evaluation of all the terms  
18 in the motion equation, so we get the implicit choke  
19 flow model, the implicit interfacial drag  
20 coefficients. When this is done, what I see is that  
21 there probably will really be three options in TRACE  
22 to begin with, and they will be winnowed down. You  
23 can run in the old mode that's familiar to people who  
24 use RELAP5 and TRAC, which is, you know, semi-implicit  
25 type methods or a SETS nearly implicit type method or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 you can take one step up off of that and you can  
2 engage implicit coefficients or you can take the final  
3 step and you can engage implicit transfer terms also  
4 in mass and energy and momentum and go to a fully  
5 implicit method. So that's the direction we are  
6 headed with the numerical methods.

7 MR. DENNING: Now, do you see that, you're  
8 talking about a release two years from now, do you see  
9 a fully implicit capability two years from now? Is  
10 that what you're saying?

11 MR. MAHAFFY: It will certainly be  
12 available. Two years, you know, based on my knowledge  
13 in numerical methods and my knowledge of the  
14 development history of CATHARE, two years is where  
15 we're just beginning to get reasonably robust with the  
16 fully implicit method. It's still going to have its  
17 problems. There will be odd glitches here and there,  
18 because something in some correlation package has  
19 still got some odd jump in it that somebody hasn't  
20 found yet. And we'll be working through those issues.  
21 But it should be close.

22 CHAIRMAN RANSOM: John, a couple of  
23 comments on that. One, even with that capability,  
24 there are some problems that, I mean, say at least are  
25 material limited in terms of the accuracy of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 answers you're going to get.

2 MR. MAHAFFY: Right.

3 CHAIRMAN RANSOM: So you would want to  
4 restrict the timestep in those cases.

5 MR. MAHAFFY: You never --

6 CHAIRMAN RANSOM: And the second one is do  
7 you know anything, is there any comparison of let's  
8 say CATHARE has been able to achieve to show what the  
9 benefits are, you know?

10 MR. MAHAFFY: Too bad Joe Kelly is not  
11 here. He used to work on the CATHARE Team. But  
12 CATHARE is run. Right now, it is at the heart of  
13 EDF's real time reactor simulator for training  
14 operators, for example. It's a very fast code and  
15 then I have seen in nodalizations they use on those  
16 and, you know, they've got many hundreds of nodes.

17 CHAIRMAN RANSOM: Well, it would be  
18 interesting to see if you have like the TRACE Project,  
19 it would be interesting to have some benchmarks  
20 against that code, you know, to see basically how you  
21 compare.

22 MR. MAHAFFY: Yes, it would. It would.

23 CHAIRMAN RANSOM: I don't know how the  
24 French feel about that.

25 MR. MAHAFFY: Yes, the DNRC needs to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 negotiate some of agreements with the French or some  
2 such to pull that off.

3 CHAIRMAN RANSOM: In fact, at one time, I  
4 think the French --

5 MR. MAHAFFY: Actually, we have access to  
6 CATHARE.

7 CHAIRMAN RANSOM: -- made that available  
8 to the NRC.

9 MR. STAUDENMEIER: Yes, and I mean, we're  
10 even allowed to use their models and correlations if  
11 we want to.

12 CHAIRMAN RANSOM: Yes.

13 MR. STAUDENMEIER: The one thing that they  
14 do want is to be able to review any publications that  
15 we have that compare TRACE and CATHARE to make sure  
16 that we're not using it in some unreasonable way and  
17 bashing the code.

18 MR. MAHAFFY: Yes.

19 MR. STAUDENMEIER: And based on our not  
20 knowing how to use it essentially.

21 MR. MAHAFFY: But you bring up a really  
22 important point, Vic, and that has to do with problems  
23 where the material Courant stability limit says  
24 something about the physical phenomena continuity ways  
25 and whatnot. And we don't propose to ever eliminate

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the semi-implicit method from an option set here,  
2 because, as you saw, Tom Downar runs it for stability  
3 analysis, because it has the least numerical  
4 diffusion.

5 One thing that I have looked at on the  
6 side, it's not a project I have reported to you here  
7 today, we're going to study some high order methods  
8 for use in two phase flow. And what we did was to  
9 take some of the ones that show up in some of the  
10 advanced CFD quicklist. We also did a leaf method.  
11 And I'll tell you, it's dicey at best. Those  
12 methodologies when you cut over to two phase flow are  
13 just not robust enough to hold up against abuse.

14 And we've done this is a fully implicit  
15 two phase context, which is where you've just about  
16 got to do it, they boil down so long in the iterations  
17 to do a decent job of solving the problem, that as far  
18 as I can tell, you're just about as well off running  
19 the semi-implicit method with smaller mesh size to get  
20 the same kind of, you know, artificial diffusion that  
21 you would with the second order or third order upwind  
22 schemes.

23 CHAIRMAN RANSOM: Well, even the Marviken  
24 problem talked about a lot of one characteristic of  
25 that is that thermal interface must be propagated

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 realistically. Otherwise, you begin to defuse the  
2 energy and change the pressurization in the tank.

3 MR. MAHAFFY: Yes, but, you know, the  
4 point of our studies, and I'll get a publication out  
5 of that at some point here, to propagate that  
6 interface realistically, it's not a 1-D problem  
7 anyway. It's got to be done at least in two  
8 dimensions.

9 CHAIRMAN RANSOM: I would guess that's  
10 probably true.

11 MR. MAHAFFY: Yes.

12 CHAIRMAN RANSOM: But I don't have any  
13 data one way or the other.

14 MR. MAHAFFY: Yes. We did some  
15 preliminary 2-D calculations and you really need them.

16 CHAIRMAN RANSOM: And I guess what I would  
17 encourage you to do is have your timestep algorithm  
18 smart enough, I guess, to recognize when it is needed  
19 to restrict the timestep, even if you use a full  
20 implicit formulation.

21 MR. MAHAFFY: Oh, yes, that's a given.  
22 That's a given. An awful lot of our timestep control  
23 algorithm is based on, you know, net changes in  
24 various variables, percentage changes. It's got  
25 nothing to do with stability limits. I'm not going to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 let my void fraction change by more than .05 per  
2 timestep, for instance.

3 There are all kinds of restrictions in  
4 there. And they have to be refined, but they will  
5 always be there. But in the long run, you know, as  
6 people have always found it doesn't excuse the user  
7 from paying attention and doing timestep sensitivity  
8 studies to quantify their error.

9 Okay. We're past everything I wanted to  
10 say.

11 CHAIRMAN RANSOM: Okay. Well, I guess --

12 MR. MAHAFFY: Two hours in.

13 VICE CHAIR WALLIS: Well, you've got this  
14 25 and 26 in talking about momentum equations and  
15 you're playing around with the versions of velocity.  
16 Just to say that when there is a flow that goes around  
17 the bend or something like that, you know, the  
18 momentum equation is really written from  $dV_x dt$   $dV_y$   
19  $dt$ .

20 MR. MAHAFFY: Right.

21 VICE CHAIR WALLIS: The  $dV_x dt$  is termed  
22 like  $dy/V_y$ ,  $dV_x dy$ , a convergence term. When you go  
23 around the bend, I don't see how you can throw out the  
24  $dV_y V_x$ . What is V? Is V in the direction of the  
25 pipe? I mean, there's no way you can translate this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 momentum equation, which has three directions, into  
2 velocity in the direction of the pipe.

3 MR. MAHAFFY: It's a 1-D approximation.

4 VICE CHAIR WALLIS: There is no way you  
5 can do it.

6 MR. MAHAFFY: There is no y.

7 VICE CHAIR WALLIS: That's something else.

8 MR. MAHAFFY: That's right.

9 VICE CHAIR WALLIS: You have to turn it  
10 into a newly equation or something.

11 MR. MAHAFFY: What you have to do and what  
12 I will do at some point is a clear derivation of this  
13 equation from the rigorous --

14 VICE CHAIR WALLIS: Flow goes around a 180  
15 degree bend. It comes in in one direction and goes  
16 out the other direction, no friction. It simply has  
17 turned its momentum from one direction to the other.

18 MR. MAHAFFY: That's right.

19 VICE CHAIR WALLIS: And there is no way  
20 you're going to convince me there's no change in  
21 momentum.

22 MR. MAHAFFY: Okay.

23 VICE CHAIR WALLIS: But according to your  
24 equation, there isn't a change in momentum. So  
25 there's something, you know, very fundamental about

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that.

2 MR. MAHAFFY: See, that goes back, you  
3 know, again, I'll speak to you as a licensed physicist  
4 and that is, you know, I make mistakes. I said it  
5 before, I'll say it again. In one dimension  
6 approximation momentum is meaningless.

7 VICE CHAIR WALLIS: Well, isn't the  
8 dimension a long pipe?

9 MR. MAHAFFY: Yes.

10 VICE CHAIR WALLIS: Or is it the dimension  
11 of X, Y, Z?

12 MR. MAHAFFY: It needs to be done and  
13 hasn't been done and maybe I'll learn something that  
14 I didn't suspect the last time I did this. I'll do  
15 the derivation for you again. You have to think of  
16 these equations as being a form of the kinetic energy  
17 equation. That's the only way you can justify it.

18 VICE CHAIR WALLIS: But it isn't. It's a  
19 momentum equation.

20 MR. MAHAFFY: If it looks like one --

21 VICE CHAIR WALLIS: Anyway, I'm just  
22 saying there is a fundamental problem which we have  
23 had before, we've talked about it.

24 MR. MAHAFFY: Yes.

25 VICE CHAIR WALLIS: And it doesn't seem to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 have gone away with your presentation here.

2 MR. MAHAFFY: I can get you that form of  
3 the equation starting with the kinetic energy  
4 equation. All right? I have to make some  
5 approximations and I will spell them out for you.

6 VICE CHAIR WALLIS: A single phase,  
7 there's no problem, I think, with that.

8 MR. MAHAFFY: Okay.

9 VICE CHAIR WALLIS: But two phase you  
10 might have a difficult time.

11 MR. MAHAFFY: It's a little dicey.

12 VICE CHAIR WALLIS: Right.

13 MR. MAHAFFY: But, yes, we need to do  
14 that. But that's the only theoretical way you can  
15 justify this kind of --

16 VICE CHAIR WALLIS: Okay. And that's the  
17 kind of thing that's going to be --

18 MR. MAHAFFY: -- motion equation.

19 VICE CHAIR WALLIS: -- in the  
20 documentation eventually as a proper derivation, which  
21 makes sense, which will convince a reasonable person  
22 the backbone for the mechanics?

23 MR. MAHAFFY: I think that's been promised  
24 to you before and I'm sorry I can't do it today. We  
25 don't have enough time even if I had it in front of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 me, I guess.

2 VICE CHAIR WALLIS: Another problem here  
3 that isn't trivial that if you try to present this  
4 stuff to the editors of the General Fluid Mechanics or  
5 some respectable junk, Physics of Fluids or something.  
6 I think many of you have some difficulty with the way  
7 things are manipulated.

8 MR. MAHAFFY: Well, just as --

9 VICE CHAIR WALLIS: I think we owe it to  
10 this professional community to convince them this is  
11 an okay thing to do. The argument usually is well,  
12 whatever happens with all of this stuff and whatever  
13 you think about it, it works. That seems to be the  
14 answer that everybody falls back on.

15 MR. MAHAFFY: It's the ultimate  
16 engineering solution.

17 VICE CHAIR WALLIS: Right.

18 MR. MAHAFFY: We can actually do better  
19 than that.

20 VICE CHAIR WALLIS: I think you have to do  
21 better than that.

22 MR. MAHAFFY: But as I told you, you know,  
23 momentum is three dimensional. It's a vector  
24 quantity.

25 VICE CHAIR WALLIS: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. MAHAFFY: I have to come up with a  
2 scale equation for you. And the way you get a scale  
3 equation is by starting with the kinetic energy  
4 equation and clearly indicating the approximations you  
5 have to make to get to the point that you see in these  
6 manuals.

7 CHAIRMAN RANSOM: Thank you. Next is  
8 Christopher Murray, who is going to talk about  
9 verification issues.

10 VICE CHAIR WALLIS: Well, we seem to be  
11 still on time reasonably.

12 CHAIRMAN RANSOM: Right. And define what  
13 you mean by verification.

14 MR. MURRAY: It's defined, yes. Where is  
15 the microphone?

16 VICE CHAIR WALLIS: There is one  
17 verification that says does the code represent the  
18 equation. And the other verification is does the code  
19 represent in a reasonable way reality? These are  
20 quite different things. And you're going to tell us  
21 which verification you are talking about?

22 MR. MURRAY: Yes, I think. I always drop  
23 back to the software engineering view and use that.

24 VICE CHAIR WALLIS: So you say that the  
25 code must represent the equations?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. MURRAY: I say that the code has to do  
2 what you intended it to do. If you meant to say X  
3 equals 1, well, you better have said X equals 1, not  
4 X equals 2.

5 VICE CHAIR WALLIS: Well, that's right.  
6 Does it represent the equation.

7 MR. MURRAY: Yes.

8 VICE CHAIR WALLIS: But you don't go back  
9 and question whether or not the equations are good  
10 approximations of reality?

11 MR. MURRAY: No, no, that's validation in  
12 my view.

13 VICE CHAIR WALLIS: That's fine.

14 MR. MURRAY: Whether it represents --

15 VICE CHAIR WALLIS: That's different.

16 MR. MURRAY: -- reality. Is this working?

17 VICE CHAIR WALLIS: So all we're  
18 interested in here is the software clear  
19 representation of the math.

20 MR. SIEBER: Right.

21 MR. MURRAY: That's correct.

22 VICE CHAIR WALLIS: It would be a trivial  
23 question.

24 MR. MURRAY: Yes, I'm here to sort of  
25 address some of the issues that the letter had with QA

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and testing. Like John did, I broke it down into  
2 three. There were essentially three bullet points  
3 that I took away from the letter. NRC has no approved  
4 software quality assurance procedure. The NRC Codes  
5 have never undergone verification. And the NRC Codes  
6 have not been assessed under an approved qualified  
7 procedure with "frozen" versions.

8 I can't speak to all the previous codes.  
9 I don't have the longevity in this business that  
10 everybody else in this room has. But I can certainly  
11 answer some of these questions about TRACE.

12 As to the SQA procedure, there is two  
13 documents that are in the NRC archives, I guess, on  
14 two NUREGs that do govern our quality assurance  
15 procedures. The first NUREG is, I think, a more  
16 general brochure, but the second one was written in  
17 1999/2000 time frame by Frank Odar or at least that  
18 was the point at which it was published as a NUREG.  
19 It was written a bit sooner than that, I know, because  
20 I saw the drafts when this project first started back  
21 in '97/98 time frame.

22 And this is the document right here,  
23 actually both of them, so they do actually exist in  
24 paper that we can get. I think the NUREG-1737 is the  
25 one we base most of our processes off of. The

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 essential item there calls for development of a  
2 project Specific Quality Assurance Plan or an SQAP for  
3 each code development effort. And that was done back  
4 in '98 by a couple of people that were involved in the  
5 development back at that time that are no longer with  
6 the NRC.

7 That document, unfortunately, is not in  
8 some archival format. I had to pull it off of some  
9 files. I remember getting an email with that plan  
10 back when I was at Penn State and started on this  
11 project and we went back and dug it up. In addition,  
12 some of the contractors do have their own internal  
13 quality assurance procedures. This SQAP that was  
14 developed for TRACE supersedes all of those.  
15 Traditionally, that's what NRC relied on in terms of  
16 its code development, was that each lab or institution  
17 that was doing its development for NRC had to have one  
18 of these quality assurance procedures in place.

19 The SQAP basically addresses the lifecycle  
20 of a code update. It takes you from the time of  
21 conception of whatever fix or feature needs to be put  
22 into the code through its development, what  
23 documentation needs to be there and the amount of  
24 testing that gets applied to the code. And then once  
25 it has been submitted to the NRC or to the code

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1        caretaker at the NRC, what gets done with it at that  
2        point to the point that it is put into our  
3        configuration management system.

4                    CHAIRMAN RANSOM: Within the development  
5        system is there any actual review of an individual's  
6        coding?

7                    MR. MURRAY: Yes, I'm going to go through  
8        that. That does get done. I think one of the things  
9        I can talk to is it doesn't always -- especially for  
10       the large updates, we don't always do line-by-line  
11       reviews. I certainly am looking at the patch files  
12       that come in and through a combination of the tools I  
13       use for applying the code updates and just visual  
14       inspection, I can catch a lot of errors. It doesn't  
15       mean I catch them all. I mean, but the very big  
16       updates that come in, I don't always have the  
17       knowledge.

18                   Like let's say John's implicit work, if I  
19       were to try to do a line-by-line review, I don't have  
20       the necessary knowledge to really review that from a  
21       line-by-line standpoint.

22                   CHAIRMAN RANSOM: I know one thing that  
23       was discussed a long time ago was the concept of  
24       Argolis programming or coding in which I guess is used  
25       in large software projects and that's where one guy

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 develops it, writes it up and then another person  
2 actually recoates it, you know, and presumably would  
3 even, if there is any modeling involved, put his own  
4 slant on that until finally, you know, there is some  
5 agreement between the individuals.

6 Now, it's a very expensive process, but  
7 one that probably results in, you know, higher quality  
8 products, and it would be interesting to know whether  
9 people like Microsoft what they do in these regards.

10 MR. MURRAY: The new buzzword they have in  
11 the software engineering community and, you know,  
12 codevelopment is this "Extreme Programming Model."

13 CHAIRMAN RANSOM: It's what?

14 MR. MURRAY: It's called "extreme  
15 programming" and in that model they actually have  
16 programmers sit side-by-side.

17 CHAIRMAN RANSOM: Yes.

18 MR. MURRAY: Program at the same terminal.  
19 I think companies like -- another technique that is  
20 used widely is they do actually have meetings. I  
21 forget the official term for it, but you get a group  
22 of five people or so, go into a room and you do line-  
23 by-line reviews up on the wall of chunks of about 100  
24 lines at a time, because they found, you know, there  
25 is a whole art to this and they find that that's about

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 the amount that you can really reasonably work with in  
2 a finite amount of time.

3 And there are software engineering  
4 companies that do that. I don't know that Microsoft  
5 does that, but --

6 CHAIRMAN RANSOM: Any thought about using  
7 those kind of methods in your work?

8 MR. MURRAY: We try. See, I try to inject  
9 some of that and I'm going to go through some of that  
10 a little bit later. I try to inject as much as I can,  
11 the look at individual lines and I'm going to touch  
12 upon that a little later.

13 MR. DENNING: Christopher, I'm having a  
14 hard time telling as you're discussing this, is this  
15 the way it is supposed to be done at NRC or is this  
16 the way it is actually happening right now? I mean,  
17 it was obvious when you talked about the plan that it  
18 was buried some place.

19 MR. MURRAY: Yes.

20 MR. DENNING: So obviously that plan was  
21 not in front of everybody being immediately followed.  
22 These things you are talking about here, is this the  
23 way it is supposed to happen?

24 MR. MURRAY: Right now, this reflects the  
25 plan.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. DENNING: That reflects the plan?

2 MR. MURRAY: Yes.

3 MR. DENNING: But you dug the plan up from  
4 the -- what is actually happening right now or what  
5 has been happening over the last four years?

6 MR. MURRAY: Everything in here does  
7 happen. There's a couple of slides afterwards that  
8 I'm going to show here is where the weakness is that  
9 I see are and here is where we're not meeting all of  
10 these all the time. Okay. So I think I'm trying to  
11 be honest about that and I'm not claiming that every  
12 individual is hitting every element for every single  
13 update. You know, this is a people process.

14 MR. DENNING: I mean, it doesn't surprise  
15 me that you haven't reviewed every piece of coding.  
16 But I haven't heard that there is an independent  
17 review of every piece of coding and that I certainly  
18 would think is a minimum. Some technical person must  
19 be doing an independent review of every piece of  
20 technical coding. Is that happening or is that not  
21 happening?

22 MR. MURRAY: There is in a submittal that  
23 I get one of the lines on there is that it needs a  
24 reviewer, other than me.

25 MR. DENNING: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. MURRAY: And I have actually gotten  
2 requests to be the reviewer and no, I don't want to be  
3 on that line. I'm a third step in the process. And  
4 somebody has to review that submittal. Now, I don't  
5 always know to what level that reviewer is looking at  
6 things. That's why I'm saying I don't claim that  
7 every update gets each individual line reviewed. The  
8 reviewers are looking at, from an architectural  
9 standpoint, does the update meet sort of our goals for  
10 the code? Are we missing major features that a user  
11 wants to see?

12 You know, these codes have so many  
13 different features or restart where you can restart  
14 off of a previous calculation. And if I'm adding a  
15 new variable to the code, am I maintaining my ability  
16 to restart from previous calculations? So there is  
17 logistical type features that need to be there and  
18 these reviewers should be looking for that in addition  
19 to are the equations correct? There is a requirements  
20 document that gets written and they should be looking  
21 and saying hey, are we missing something in the  
22 equations?

23 MR. DENNING: But I'm still not hearing  
24 you say that confidently somebody is independently  
25 reviewing every piece of coding.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. MURRAY: Not --

2 MR. DENNING: That some qualified person  
3 is?

4 MR. MURRAY: Not line-by-line.

5 MR. DENNING: Not line-by-line?

6 MR. MURRAY: I mean, it's --

7 MR. STAUDENMEIER: This is Joe  
8 Staudenmeier, NRC. I know when I review stuff I  
9 generally either review line-by-line or come very  
10 close to line-by-line review of code. I mean, if  
11 there is a block, I will kind of look at blocks and  
12 understand what they mean. I mean, maybe I missed a  
13 typo somewhere in that block, but generally I  
14 understand what the blocks are doing. But I can't  
15 speak for what everyone does, but I expect that that's  
16 the level that people are looking at code and  
17 understanding what is going on and checking the test  
18 cases that are submitted with it that are done.

19 I know myself, I'll take the changes and  
20 compile them into a local version of my code and run  
21 test cases in addition to what the person has done to  
22 make sure that it works okay. I'm taking it beyond  
23 what is normally done by most people probably, but  
24 that's what I tend to do. But I mean, some changes  
25 maybe 10,000 lines a code or something like that if a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 big change came in adding a lot of things like change  
2 the whole numerical method or thousands of lines of  
3 codes.

4 So in that type, I can't say that I read  
5 every line, but I do read at least at the block level  
6 and understand what is going on for that. And even if  
7 I read every line, I can't claim that that would keep  
8 all errors from going by.

9 VICE CHAIR WALLIS: We have had this  
10 problem with vendors who have brought us codes and  
11 documentation. It would be the documentation. Let me  
12 go down to some equations and say well, it looks to us  
13 as if this  $j+1/2$  should be  $j-1/2$  in this term in this  
14 equation. I mean, in some cases you're right, there's  
15 an error. We go to another equation. We say this  
16 looks as if it should be something else and say oh,  
17 yes, you're right. We'll fix that. And then they say  
18 but it's okay in the code.

19 Now, how do I get any assurance that it's  
20 okay in the code when it's not okay in the  
21 documentation?

22 MR. SIEBER: The problem is --

23 MR. MURRAY: Right, that's valid. That's  
24 a valid concern.

25 MR. STAUDENMEIER: Yes. Actually, one

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 thing that is supposed to be done is that the  
2 equations, base equations in the code, are supposed to  
3 be confirmed and I think in terms of that, if there is  
4 a change to an equation or a correlation, we will be  
5 checking that the Theory Manual is consistent with  
6 what's in the coding.

7 VICE CHAIR WALLIS: But even when there is  
8 no change, when it's simply somebody typed it wrong in  
9 the documentation or something.

10 MR. STAUDENMEIER: Right.

11 VICE CHAIR WALLIS: What is the reference,  
12 which says sort of explicitly what it really should  
13 be? If it's not in the documentation, where is it?

14 MR. STAUDENMEIER: Well, hopefully, it's  
15 traced back to an initial paper that --

16 VICE CHAIR WALLIS: Is it something that's  
17 happening --

18 MR. STAUDENMEIER: -- in development  
19 that's beyond the documentation.

20 MR. SIEBER: But validating the  
21 phenomenology is not what this process is, right?

22 MR. STAUDENMEIER: No, right.

23 VICE CHAIR WALLIS: No, but I'm saying --

24 MR. SIEBER: And so it doesn't make any  
25 difference what the physics and the thermodynamics and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the hydraulics are of the situation. It's whether  
2 whatever somebody decided it was going to be and  
3 whatever numerical method they are going to employ is  
4 coded properly.

5 VICE CHAIR WALLIS: As long as you know  
6 what should be coded, but if the documentation is  
7 itself garbled, how do you know what should be  
8 encoded?

9 MR. SIEBER: My personal experience in  
10 writing some pieces of the --

11 MR. MURRAY: I mean, my approach -- sorry.

12 MR. SIEBER: -- is that you write the code  
13 before you write the documentation and you end up with  
14 a lot of comment cards inside the code, so that you  
15 don't lose your train of thought in the process of  
16 doing that, and then you flowchart all the logic and  
17 it won't compile if you have typos in it.

18 And then after you get it to run, you run  
19 all the test cases and somebody else is doing the  
20 verification and validation, that's when you start  
21 writing the manual and I think a lot of people do it  
22 that way.

23 MR. MURRAY: I mean, there are a lot of  
24 different approaches a person can take when they are  
25 first writing, you know, a subroutine to perform some

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 task, solve some equations, you know, to verify that  
2 that's been coded correctly.

3 MR. SIEBER: Yes.

4 MR. MURRAY: And you can create separate  
5 driver programs.

6 MR. SIEBER: Right.

7 MR. MURRAY: That drive it outside of what  
8 you are eventually putting in to show that you're  
9 getting a correct answer.

10 MR. SIEBER: That's right.

11 MR. MURRAY: And create spreadsheets of  
12 values. And I did this for signal variables when I  
13 was modifying the signal variable logic in TRACE.

14 MR. SIEBER: Yes, that's a common --

15 MR. MURRAY: There are 100 and some odd  
16 signal variables and I had to have every single, you  
17 know, type with different inputs and then, you know,  
18 I had to calculate what should the output be from a  
19 certain control block and put it in there and go one-  
20 by-one and check what the code prediction was against  
21 what my, you know, side calculations showed. And if  
22 you don't do that, you have no confidence.

23 There's other techniques where you can do  
24 -- another thing you worry about is well, did the test  
25 that you have designed adequately hit every line of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 code? You have got to do coverage testing and show  
2 that every single -- in your test suite that you have  
3 built to test that feature, executes every line.  
4 Okay? Because if you're missing lines, you don't know  
5 whether it's right or not.

6 And there are some techniques that I  
7 advocate and I look for developers to follow, and I  
8 have a minimum standard and I really hope that I see  
9 more, but I also have to keep the development process  
10 moving forward, and so I have a minimum that I look  
11 for.

12 But going on to just what the SQA Plan  
13 talks about. It says, basically identifies, there's  
14 two kinds of code updates, differentiates between  
15 them. There's new features or modeling capabilities  
16 and there's bug fixes. By their nature, bug fixes  
17 don't require the same level of documentation because,  
18 presumably, you're just --

19 MR. SIEBER: Correcting things.

20 MR. MURRAY: -- fixing what you already  
21 have documentation for. So first we conceive of some  
22 desired modeling capability. All right. We identify  
23 which bugs get fixed. The developer has a certain set  
24 of responsibilities. The first thing they do is they  
25 prepare a Software Requirements Specification.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           For anybody that's not familiar with what  
2           a requirement is, it's what the software should do  
3           from a user's perspective, how it should function, you  
4           know, what a user sees when they sit down and they are  
5           going to work with the code and what task they are  
6           trying to perform with it.

7           They prepare a Test Plan that ties each  
8           requirement, they tie a test to each requirement. So  
9           generally, in software engineering lingo, you usually,  
10          you know, bulletize your requirements, give a number,  
11          an ID number to them, and then you write a Test Plan  
12          that there is a test for every requirement, so that  
13          you can show that you have met all the requirements,  
14          and a reviewer would look to see if there are 10  
15          requirements, there should be at least 10 tests.

16          The developer then also prepares a  
17          Software Design and Implementation Document. One  
18          thing that's going to happen, and it will become  
19          obvious in a second in the next slide, is that the NRC  
20          has some responsibilities, and so there's reviews  
21          inserted in here. I don't want to make it sound like  
22          the developer does all these things sequentially  
23          without any feedback.

24          The design document basically just states  
25          what or how the code will meet its stated

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 requirements, and the developer performs the code  
2 development. They test their changes according to the  
3 Test Plan. They document that testing process in a  
4 completion report and they send us the submittal  
5 package.

6 On the NRC side, we're responsible for  
7 reviewing that SRS, reviewing the tests, well,  
8 reviewing all those documents. We review the coding  
9 provided by the contractor. I do some of that as a  
10 code caretaker. Some of the NRC staff does that. In  
11 some cases, a contractor reviews a contractor's work.  
12 We try to search for some independence in these sorts  
13 of information reviews.

14 We repeat and verify the results of the  
15 completion report. We incorporate the code changes  
16 into the configuration control system and I update our  
17 internal development website. We incorporate the code  
18 changes into the configuration control system and I  
19 update our internal development website. Once it's on  
20 the website, that new snapshot of a code is on the  
21 website, all the developers have access to it and can  
22 pick that up and be using that as a base.

23 VICE CHAIR WALLIS: Are there comments  
24 where if I have the code documentation, I have  
25 Equation 3.2.7.1, which is some version of a momentum

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 equation or something, and I go to the code and I can  
2 see a comment, which says the following lines, put the  
3 coefficients into --

4 MR. MURRAY: I think some of that, yes,  
5 there are comments like that. I'm not going to sit  
6 here and tell you that every line is --

7 VICE CHAIR WALLIS: I can sit down with  
8 that documentation and the code and I can have a one-  
9 to-one correspondence of everything?

10 MR. SIEBER: No.

11 MR. MURRAY: Not everything.

12 VICE CHAIR WALLIS: It would seem to me  
13 you have to have that. Otherwise, there is no  
14 guarantee that the code represents what's in the  
15 documentation.

16 MR. STAUDENMEIER: I mean, it's not down  
17 to equation numbers from the Theory Manual in some  
18 cases.

19 VICE CHAIR WALLIS: But it would have to  
20 be.

21 MR. STAUDENMEIER: But it will be like  
22 interfacial drag for bubbly slug, for this. There  
23 will be a comment there and you can see what the  
24 equations are in the code and see what the bubbly slug  
25 equation was in the Theory Manual, but it may not have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the Theory Manual equation number in the coding, and  
2 that would be actually pretty difficult to maintain.  
3 If you change the equation numbers in the Theory  
4 Manual, because you inserted more equations, then you  
5 have to have a process to go back into the code and  
6 change that equation number.

7 VICE CHAIR WALLIS: I think you need to do  
8 that.

9 MR. STAUDENMEIER: So if we were to do  
10 that, we would have to add some --

11 VICE CHAIR WALLIS: I think you need to do  
12 that, because these are the commonest causes of error.  
13 What you think is in the code isn't what you have  
14 written down in some authoritative document and you  
15 cannot make a one-to-one comparison, so then you get  
16 all sorts of errors.

17 MR. MURRAY: I think the other thing that  
18 it does, if you get into doing that, is it limits your  
19 code architecture. There's places where, you know, we  
20 have modularized things, so you solve things by  
21 component.

22 VICE CHAIR WALLIS: Yes.

23 MR. MURRAY: And some of these equations  
24 for a pipe, let's say, they apply to a pipe and a  
25 pressurizer and a pump and a valve, and so in each of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 those spots for each of those component types, you  
2 have got, you know, some, you know, code that repeats  
3 itself and you would have to maintain that in all four  
4 of those places.

5 VICE CHAIR WALLIS: Yes.

6 MR. MURRAY: I think that that would be  
7 very difficult.

8 MR. SIEBER: I think one of the harder  
9 things is if you're employing coding that is,  
10 basically, numerical methods to solve partial  
11 differential equations or simultaneous linear  
12 equations or something like that, the description of  
13 the problem you're solving in equation form, in  
14 mathematic terms, in the technical manual is going to  
15 be a lot different than what the coding is. You know,  
16 you would look at this and then you would go to, in my  
17 case, the IBM Numerical Methods Handbook and say this  
18 is the way you solve this kind of an equation. Here  
19 is the code set that does it.

20 VICE CHAIR WALLIS: Not in TRACE, because  
21 if you listen to John Mahaffy, he takes his momentum  
22 equation and he has all kinds of ways of upwind  
23 differencing and doing this and taking the divergence  
24 term and writing it in some way, which makes it look  
25 better and all that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And when it gets to a final finite  
2 difference form, which is going to be used in the  
3 code, it's got to be absolutely explicit, no way you  
4 can misinterpret it. There has got to be a way of  
5 checking that what you have written down there as the  
6 numerical method is actually encoded property.  
7 Otherwise, you have chaos.

8           MR. MURRAY: A code of 100,000 lines. I  
9 mean, what I think is more useful in the comment is --

10           VICE CHAIR WALLIS: Suppose someone in the  
11 code has a  $j-1/2$  instead of a  $j+1/2$ , how are you going  
12 to find it unless you have got some authoritative  
13 equation you can go into and you can identify that  
14 line of code and make the comparison?

15           MR. STAUDENMEIER: Usually, those type of  
16 bugs turn up in bad calculations and you trace it down  
17 to something like that.

18           VICE CHAIR WALLIS: Could be.

19           MR. STAUDENMEIER: But I mean, I guarantee  
20 any code the size of TRACE or RELAP5 has errors in it,  
21 and we know that because we keep getting error reports  
22 and fixing them. And you find new ones when you push  
23 it into uses that you haven't used it for before and,  
24 hopefully, you have wrung out all the major bugs that  
25 cause big changes in your calculation results, but

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 there still may be some in there that are causing  
2 subtle changes or don't show themselves until you get  
3 into some special case or something like that, but  
4 that's, essentially, the process.

5 I mean, you try to put good practice in in  
6 developing it and have documentation and we are doing  
7 that, but there still are going to be bugs that are  
8 going to be found when people are using the code.

9 VICE CHAIR WALLIS: My experience with  
10 writing many codes to solve many problems is that  
11 writing down the equations and writing down the first  
12 version of the code is the most trivial part of the  
13 whole problem. And then there are all kinds of ways  
14 that something goes wrong, and finding out what that  
15 is takes far longer than constructing the solution  
16 method, writing down the equations. It's not a  
17 trivial thing at all.

18 MR. STAUDENMEIER: And I'm not trying to  
19 say that it is. And actually, part of our peer review  
20 process, I know we have talked about starting up a  
21 contract within the branch, we haven't done it yet, is  
22 for someone to go in and verify the actual  
23 mathematical terms that can be verified like the  
24 correlations, that they are consistent with the Theory  
25 Manual and coefficients that go into matrix solutions

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 that you have constructed then consistent with the --

2 VICE CHAIR WALLIS: But when you have,  
3 say, nested loops and things, you think the thing is  
4 going through these loops in some kind of a way that  
5 you have all worked out in your head and all that, and  
6 you're damn sure that's what it's doing, but it isn't.  
7 There is something else happening there where a half  
8 is getting stuck in there or it's not going through  
9 the whole loop or, you know, there is some strange  
10 glitch. It happens all the time.

11 MR. STAUDENMEIER: And some of the modern  
12 debuggers can step through loops and you can see how  
13 they are stepping through loops and verify that when  
14 you're doing your code development with the debugger.  
15 I mean, you take steps and it goes through each line  
16 of the code and you can see what's being calculated at  
17 each step, so that has helped the development process,  
18 the modern debuggers.

19 And actually, Fortran 9095, you can use  
20 more descriptive variables and the array language  
21 logic in there makes it easier to write cleaner  
22 looking code that looks more like what the equations  
23 are down on paper than older dialects of Fortran.

24 MR. MURRAY: Generally, what I think is  
25 important also in commenting isn't always just tying

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 something back to, you know, here's the equation. I  
2 think statements that lets you get inside the  
3 developer's head, what they were meaning to do when  
4 they put a piece of coding there, not necessarily what  
5 they -- sometimes it's so easy to see comments, you  
6 know, start loop and, you know, that doesn't help you  
7 at all.

8 But if there is a small two or three  
9 sentence comment that says here's why I'm playing this  
10 little numerical game, because later on if I do see an  
11 anomaly against the manual, I know which one is  
12 correct and I can fix it right away. I am not left  
13 wondering okay, now do I fix this or if I fix this, am  
14 I going to break 20 other test problems? And it's  
15 more important to be getting inside the developer's  
16 head in terms of commenting code and documenting a  
17 code.

18 And that's where we come to with this  
19 slide, is where I see the gaps of that process are and  
20 how we implement them. Enforcement of the SQA  
21 standards are not always as rigorous as it could be.  
22 A lot of that, when I say it's not as rigorous, it's  
23 that we're not always enforcing certain of those  
24 documents, the SRS or the SDID, are necessarily  
25 getting written. That has happened a few times

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 internal to the NRC. We're pretty good about forcing  
2 our contractors to write that documentation.

3 There have been some projects in-house  
4 though, ESBWR and AP-1000. Well, it hasn't happened  
5 yet for 50.46. I think I can see it's going to happen  
6 where we're a little looser on requiring an SRS to be  
7 written or a SDID.

8 MR. SIEBER: So that would be your fault?

9 MR. MURRAY: To some degree for not  
10 forcing it, but that's where I take me to the second  
11 slide, is that there is a general desire not to be too  
12 heavy-handed in the application of the process.

13 One of the things I worry about is if I  
14 get too particular and say no, you're going to have  
15 this document before I ever see it and it's going to  
16 be of a quality that I'm willing to accept, then I'm  
17 either -- going to isolate that developer. In some  
18 cases, with the high priority projects in-house,  
19 there's management pressure to make sure that stuff  
20 gets done and that, you know, is not something that I  
21 can always stand up to, I guess.

22 MR. SIEBER: Okay.

23 MR. MURRAY: I mean, what I want to say is  
24 that there is sort of a people process in trying to  
25 manage people. There is a very social aspect to this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 development.

2 MR. STAUDENMEIER: Yes. One example I  
3 will give for what he's talking about, like the  
4 interim reflood model went into the code. Normally,  
5 we wouldn't have put that in the code without full  
6 Theory Manual documentation to go along with it, but  
7 Joe Kelly got moved on to -- he had to do the ESBWR  
8 film condensation model and he has to start that up  
9 before he finishes the interim reflood model  
10 documentation, and now he is moving on to 50.46.  
11 Eventually, the documentation will be completed, but  
12 it's not contemporaneous with the models going into  
13 the code as we would like it to be.

14 VICE CHAIR WALLIS: That's the same  
15 problem we have with these vendor codes. The  
16 documentation is the orphan child. It's done at the  
17 very end instead of being done at the beginning while  
18 you're developing things and being used as a really  
19 hard reference to what exactly you're doing, and then  
20 it gets garbled and you get typos in it and all kinds  
21 of stuff and incomplete stuff, and the guy is off on  
22 something else, never comes back and really fixes it  
23 up, but it's absolutely vital to get it right.

24 MR. MURRAY: Secondly, also follows from  
25 the first bullet, the SQA documentation is, I find, of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 generally poor quality and it doesn't really allow me  
2 to know what the developer was thinking all the time.  
3 I look to a lot of the software in the SQA  
4 documentation so I can say okay, was the developer  
5 considering this or was he not? And if he wasn't,  
6 then there's a way to fix that. The documents don't  
7 always contain sufficient information to filter into  
8 the code manuals.

9 CHAIRMAN RANSOM: You have three sources,  
10 I guess, ISL, Penn State and developers here in the  
11 NRC.

12 MR. MURRAY: Yes.

13 CHAIRMAN RANSOM: You're talking about all  
14 of them?

15 MR. MURRAY: Yes.

16 CHAIRMAN RANSOM: In general?

17 MR. MURRAY: LANL-T was another one,  
18 another developer that we have had, Purdue.

19 MR. SIEBER: Purdue.

20 MR. MURRAY: Is another developer.

21 CHAIRMAN RANSOM: Purdue, right.

22 MR. MURRAY: They also do some limited  
23 TRACE updating as well. But I mean, what you would  
24 like to see is if, to give a good example of the  
25 sufficient information not being filtered into code

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 manuals, we have a user guide that is supposed to  
2 explain what each of the components are and how they  
3 work, what the hidden issues are in using them or what  
4 the guidelines should be, you know, where they are  
5 applicable and where you have got to watch out for  
6 using them.

7           And that user guideline, there should be  
8 some documentation or some information somewhere in  
9 either the SRS or that SDID that is sort of outlining  
10 that, so that I can just take it and cut and paste  
11 and, you know, slap it into the user guide document  
12 with some minor editing.

13           And I find that some of that stuff is just  
14 not there at all and that's a problem, as I see it,  
15 because now you have to play catchup later on. Now,  
16 we're here and saying, you know, we're going to have  
17 something two years from now and you're questioning  
18 well, can you really get all that documentation done  
19 like you're saying you're going to and, you know, that  
20 seems like a lot and it is and it's partly because of  
21 this.

22           And you know, a lot of that I blame on two  
23 things. I blame on ambitious schedules that are put  
24 into place and I think we're not always doing the best  
25 job of making sure that our developers understand what

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 expectations are and then holding to that, making sure  
2 that there's management backing to hold to that, so  
3 that when a developer comes in and says here's my  
4 documentation, Chris, and I say no, it doesn't quite  
5 have it, it doesn't quite meet what we need it to  
6 meet. And they say oh, you know, we don't have  
7 anymore time to do it, because, you know, we have got  
8 to get this work done. And so I do shoulder some of  
9 the responsibility for that.

10 CHAIRMAN RANSOM: I'm sure you run into  
11 the problem, too, that this is probably the least  
12 desirable part of the job on the part of the  
13 developers.

14 MR. MURRAY: Yes.

15 CHAIRMAN RANSOM: They always seem to  
16 neglect the documentation.

17 MR. SIEBER: You know, the typical excuse  
18 is don't worry, I'll get to it.

19 MR. MURRAY: I mean, now, I try to take a  
20 practical or a pragmatic approach to some of this and  
21 this leads me to the next slide, how do we get it  
22 right?

23 One of the problems with some of that  
24 documentation is if it falls out of like the SRS and  
25 the SDID, there are standard accepted ways of writing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 these in the software engineering community, but  
2 engineers are not software engineers. You know,  
3 nuclear engineers are not software engineers and don't  
4 always know this.

5           What I would like to see are more standard  
6 templates, and not just templates, because the  
7 templates are out there, but two things. Templates in  
8 our Framemaker, we use Framemaker for all our  
9 documentation, so we need Framemaker templates, so  
10 that people don't have to pull something from word  
11 over. And secondly, it ought to have a lot of the  
12 text that ought to be there already there.

13           I mean, there is a lot of boilerplate text  
14 that can appear in these documents related to TRACE.  
15 There's requirements that will always be there. You  
16 can't break the restart system. If you add a  
17 variable, you have to be able to back up the timestep  
18 successfully and have it maintain that or restore that  
19 n-1 variable.

20           You know, there's different requirements  
21 that will always be in the code and those need to just  
22 be in these templates, so that the developer doesn't  
23 have to rewrite that every single time, and that will  
24 reduce the burden on the developer and, I think, allow  
25 us to get better documentation each time.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           Another thing that I think will help the  
2 process is NRC staff should prepare the SRS in-house,  
3 and that that should become the basis for the  
4 statement of work. Right now, we rely on the  
5 developer to tell us what our own requirements are and  
6 that, to me, seems to be a choke point. If we're not  
7 reviewing that properly, we're starting from a point  
8 we can't maintain anyway.

9           And that SRS really needs to be written by  
10 us first, but there is a penalty in that and our  
11 contracting process gets stretched out, you know,  
12 because we have got to write the document. But if we  
13 also have the template, that should minimize that.

14           CHAIRMAN RANSOM: I think we need to move  
15 along.

16           MR. MURRAY: Okay. I'm sorry.

17           CHAIRMAN RANSOM: I think we're getting  
18 the picture that this is a problem area and it always  
19 has been a problem area for the NRC. I don't think  
20 they have ever recognized how much it really takes to  
21 document and keep the documentation up to date and, as  
22 a result of that, we have generally had poor  
23 documentation.

24           MR. MURRAY: Okay. In terms of  
25 verification, I will just take you quickly over how we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 verify the code. I have already gone over a little  
2 bit of what our definition is.

3 For TRACE we do verification in a variety  
4 of ways. The developer performs their own targeted  
5 verification for their features or code updates that  
6 they are working on. It may involve any of these  
7 following, line-by-line reviews, that is certainly a  
8 form of verification, driver programs, small test  
9 problems designed to exercise only the feature being  
10 modified or added. This is my minimum standard right  
11 here. I look for these.

12 They should demonstrate 100 percent line  
13 coverage of the Fortran being changed, and I don't  
14 generally see that. I run a regression suite of 1,300  
15 plus tests. That suite is always growing and that  
16 suite is designed for me to ensure that other features  
17 that the developer didn't intend to change really  
18 don't change.

19 CHAIRMAN RANSOM: Is that a point-by-point  
20 comparison, some metric developed as far as how well  
21 this new version agrees with a previous version? In  
22 other words, these are all transient problems, right?

23 MR. MURRAY: Yes. I'm comparing.

24 CHAIRMAN RANSOM: Are you comparing these  
25 timestep or point-by-point?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MR. MURRAY: Yes. There's four. Let me  
2 think. There's one, two, three different files that  
3 we compare, use a Unix Diff command, just compares  
4 differences of characters. And one of those files is  
5 -- there is full numerical precision output of some  
6 key variables every timestep. And then there is the  
7 message file and the output file that we also compare.  
8 The output file, because the numerical precision isn't  
9 always -- you know, some numbers may only be down to  
10 the third decimal place. You can run for 200.

11           CHAIRMAN RANSOM: What I'm looking for is  
12 what information do you finally get out of all this  
13 because, clearly, you can't go through 1,300 plots.

14           MR. MURRAY: Joe showed in his slide, I  
15 look at three criteria, three criteria, and I put it  
16 on our web page. I have scripts that I run that  
17 consolidates all this information on like a web page  
18 that I can just move through.

19           The first thing I look at is were there  
20 any test failures. If there are failures, problems  
21 that used to run that don't run, that's something I  
22 look at. Secondly, I look at all the differences. If  
23 there are any differences in test problems that  
24 shouldn't show differences, then that's a flag.

25           CHAIRMAN RANSOM: Now, you're saying

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 differences. You mean out too eight significant  
2 figures or something like that?

3 MR. MURRAY: Yes, yes, that's right,  
4 because we have that one file that looks at things out  
5 to that level.

6 And then there's a set of sort of  
7 performance metrics, runtime, the end time of the  
8 problem, the number of outer iterations, the number of  
9 timestep backups, the mean timestep size, and I look  
10 at that across the whole suite and I can get a good  
11 measure of code performance just based on those, is  
12 the code on the aggregate running better or worse.

13 CHAIRMAN RANSOM: Okay.

14 MR. MURRAY: The development projects get  
15 reviewed at periodic code coordination meetings once  
16 or twice a year. That's where we try to do line by --  
17 I try to encourage developers when they are giving  
18 presentations of what they have worked on to sort of  
19 get at the code level, so that we can see what the  
20 code looks like. You know, the developers are either  
21 going to sit in front of us, their other peers, you  
22 know, developers, like I'm sitting before you and sort  
23 of just present something.

24 What I try to encourage, and this is  
25 something that has changed since I have come here, is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 show us the data structures, you know, show us your  
2 overall design, what your data structures look like,  
3 because if we see those details we can see a lot. It  
4 doesn't always involve line-by-line reviews though.  
5 That's what I was told.

6 Before being submitted to the code  
7 custodian, me, the update and its change summary file  
8 gets reviewed by another developer who is independent  
9 of the development project of interest. We have gone  
10 through that. The changes are reviewed by the code  
11 custodian to ensure adherence to standard programming  
12 guidelines. We have a standard set of programming  
13 guidelines that's up on our website that all  
14 developers are expected to follow. I look for that.

15 The update is integrated in the official  
16 source base and then the regression suite is rerun.  
17 That sounds a little backwards, but really, we run a  
18 regression suite and then once it has passed the  
19 mustard we put it in the official source base. We  
20 check it into our CVS repository. Any new test  
21 problems that the developer created get put into the  
22 regression test suite.

23 In terms of the third concern, which was  
24 about assessment and whether it is being done with an  
25 approved process with a frozen code version, right now

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the TRACE assessment is currently underway. Our  
2 intent is to deliver a Developmental Assessment Manual  
3 that is based on a single frozen code version. So I  
4 don't know what was done in the past, but that's not  
5 going to be the case for TRACE.

6 CHAIRMAN RANSOM: That will contain  
7 comparisons to cases where you have physical data on  
8 accuracy?

9 MR. MURRAY: That's right. The Assessment  
10 Manual is only going to be comparisons to data.

11 CHAIRMAN RANSOM: Yes.

12 MR. MURRAY: And we're going to have the  
13 facilities, we're going to have automated facilities  
14 that do that for us, so that from version to version  
15 I'm going to be able to rerun the entire suite of  
16 assessment cases on a cluster or a multi-processor  
17 machine and it will regenerate all the plots and all  
18 those plots are going to get updated in the manual  
19 automatically.

20 Now, the analysis that goes along with  
21 those plots will have to be looked at by an engineer,  
22 but at any time that we run the assessment set, most  
23 all of the manual labor is going to be done for us,  
24 and that's what I think is going to allow us to really  
25 reach this, being able to say we do it with a frozen

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 code version. It's very hard to do that otherwise.

2 Requirements for an assessment process for  
3 an NRC system code are fundamentally different from  
4 those of vendors. We have a need for a more broad-  
5 based assessment than vendor codes generally need.  
6 Vendors usually only have one reactor type they have  
7 got to worry about. We have got to worry about them  
8 all, but that doesn't mean that we don't do targeted  
9 assessment where we need it right now. And so like,  
10 at this point, application to TRACE or of TRACE to  
11 current NRC projects is being supported by targeted  
12 assessments for specific applications like 50.46 and  
13 ESBWR.

14 The one criticism, I think, I can lay on  
15 the process that I have not seen to date is no  
16 rigorously documented process for input model  
17 development. I haven't seen where our models are  
18 being maintained in a central repository the way they  
19 probably ought to be. There's not some master guide  
20 that says this is how, you know, thou shalt model a  
21 steam generator or, you know, a Westinghouse pump or  
22 something.

23 And we have tried to get to that point.  
24 There's weekly review meetings that are conducted,  
25 that are designed to ensure common nodalization

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 approaches. That way if we model a core in an  
2 integral effects facility with 2 foot nodes up the  
3 core, that the plant models will also have that same  
4 nodalization. So these weekly review meetings are an  
5 effort to move towards some institutional knowledge,  
6 I guess. The lessons learned will filter into the  
7 User's Manual and SNAP as user guidelines.

8 It seems like there's some lines missing.  
9 Here we go. Well, I think the slide will show it, the  
10 lines. What this graph or this picture is trying to  
11 show is what I, luckily, it's not that long, think our  
12 assessment will follow, the time line.

13 Right now, I think we're still in this  
14 Phase I assessment, which is really just gathering  
15 input decks and getting all the input models together.  
16 Once they are all together, we will have this  
17 automated. We'll have a framework that we can  
18 automate.

19 CHAIRMAN RANSOM: So you're going to have  
20 more than 1,300 problems when you get all of these in  
21 here, too, or what?

22 MR. MURRAY: Yes. I mean --

23 CHAIRMAN RANSOM: You're asking --

24 MR. MURRAY: There's basically two  
25 different -- yes, I mean, what will happen is the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 regression suite is a little different from an  
2 assessment suite with the caveat that every assessment  
3 problem will be in my regression suite, but I may not  
4 necessarily run it out in time as far as I would have  
5 for the full assessment, because the regression suite  
6 is just meant to show that we're maintaining  
7 functionality and reliability of input and that  
8 features aren't degrading. But the assessment is  
9 really what shows adequacy, you know, against data.

10 And so every assessment problem will be in  
11 my regression suite, as well, but it might be we'll  
12 treat the timestep, you know, or the end time, so that  
13 it runs faster, because I'm envisioning that once we  
14 fully automate our assessment suite, it may take a  
15 couple weeks to run the whole thing, maybe longer than  
16 that.

17 But right now what I sort of envision is  
18 that right now we're still creating the different  
19 facility models and we'll assemble, basically, our  
20 automated framework together. And at that point,  
21 we'll sort of have a draft, what would amount to a  
22 draft manual. But I think that, at this point, you  
23 know, there will still be deficiencies in the code  
24 that will need to be worked out. And so down here  
25 we'll start addressing those deficiencies, but each

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 time we do we're going to be rerunning that whole  
2 assessment suite in an automated way and see how we  
3 get better.

4 CHAIRMAN RANSOM: Is that a two year time  
5 line?

6 MR. MURRAY: Huh?

7 CHAIRMAN RANSOM: Is that a two year time  
8 line?

9 MR. MURRAY: Yes, this is our two years  
10 out to the TRACE 5.0 release. And at that point, we  
11 would enter -- now, I have a little bit of time here  
12 for converting to a published NUREG for our  
13 documentation, because that takes time for the NRC  
14 process and needs to be planned for. And then we  
15 would enter, essentially, a different lifecycle model,  
16 which is the only difference between what we're doing  
17 now and what this is, this green line up here.

18 I'm envisioning that what we would do is  
19 we would -- at this point, you have your Version 5.0  
20 release. There may be people out there that are  
21 running that release and may come across major  
22 critical fixes that are killing a code in some way  
23 that you are going to need to address, you know, so  
24 people can get a job done and this would be sort of  
25 that branch, which is the release branch.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           But over the course of a year, you would  
2           be adding features, new features to the code, but you  
3           have got to freeze at some point. You can't add more  
4           features, because if you keep doing that you'll just  
5           always have a moving target, which is sort of what has  
6           been happening up to this point.

7           And so at this point, you have a feature  
8           freeze and then in here is your assessment phase on  
9           that frozen version. Well, it's not frozen. It's  
10          just chilly at this point. And you will identify  
11          issues and you will have to fix those, but because of  
12          our automated set we will be able to see the effects  
13          of those across the whole set, you know, much quicker  
14          than we used to and in that way, we'll iterate to the  
15          next release.

16          But now, the developers are still working,  
17          so there's going to be this developer branch that you  
18          break off here that the developers may still be  
19          working with and, at some point, you're going to have  
20          to merge those features back into now your new 6.0  
21          release. So it's sort of a leapfrog effect and that  
22          is sort of how I envision the development will happen  
23          in the future. And that's it.

24                   CHAIRMAN RANSOM: Okay. Well, thank you,  
25                   Chris.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. MURRAY: Sorry that took longer than  
2 it should have.

3 CHAIRMAN RANSOM: We're short of time, but  
4 let's go ahead with the SNAP presentation. We can  
5 dispense with my comments. You can probably move  
6 fairly quickly. I think that we have all been made  
7 aware of kind of the structure of the SNAP capability.  
8 Is yours on?

9 MR. GINGRICH: I think so.

10 VICE CHAIR WALLIS: This is a whole new  
11 presentation, too.

12 MR. SIEBER: It may be quicker than you  
13 think.

14 UNIDENTIFIED SPEAKER: Oh, that's the  
15 first clue.

16 MR. GINGRICH: My name is Chester  
17 Gingrich. I am project manager for SNAP and, as you  
18 say, we'll go through this pretty quickly. I just  
19 want to talk real quick about the new changes. The  
20 system architecture for SNAP has undergone a major  
21 change, but the structure is still -- what's going on  
22 here?

23 CHAIRMAN RANSOM: When you say major  
24 change, I mean, have you gone to a different software  
25 philosophy or coding or support?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. GINGRICH: Somewhat different. What  
2 we have done is we have come up with this CAFEAN  
3 architecture. It's an application programmer's  
4 interface that is kind of the layer between the visual  
5 and the plug-ins that we have been using in the past.

6 CHAIRMAN RANSOM: What motivated that?  
7 Did the old software just didn't work or wasn't able  
8 to do the job?

9 MR. GINGRICH: The goal of SNAP, as  
10 originally intended, was to provide a user interface  
11 that was somewhat devoid of having to know about the  
12 actual --

13 CHAIRMAN RANSOM: Right.

14 MR. GINGRICH: -- format of the cards and  
15 stuff like that. And the second thing was to provide  
16 a consistent interface for all of the research, well,  
17 even the U.S. NRC codes. So we had to make sure that  
18 we had something that was easily extendable, so that  
19 it could be easily implemented for other codes and  
20 something that was easily maintainable. Okay?

21 So fortunately, I have a contractor that  
22 is very good, that knows a lot about code design, has  
23 been very good at keeping up with the industry  
24 standards. So we have come up with this application  
25 programming interface called CAFEAN. It's actually a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       JavaBean. I don't know if you have heard the  
2       buzzwords, but JavaBean industry standard interfaces  
3       and the CAFEAN plug-in interface is actually published  
4       or, actually, right now it's in a draft form, but it  
5       is semi-frozen at this point. It's published and can  
6       be looked at by anyone who has a web browser.

7                    It's very rigorous, but a very simple  
8       application interface. I think it went from like  
9       1,200 pages down to like I think the last version was  
10      only like 120 pages.

11                   CHAIRMAN RANSOM: 120 pages of coding you  
12      mean?

13                   MR. GINGRICH: It's the document, how it's  
14      interfaced with the CAFEAN package, and what it  
15      provides you is how to use these. I wonder if I have  
16      a pointer on here. I guess I can get up and point.  
17      How to use the different -- how RELAP or TRACE or any  
18      of these codes can actually talk to this application  
19      interface.

20                   Oh, you actually have a weapon. Thank  
21      you. And basically, right now we have our own layer  
22      of standards that we apply to these JavaBeans, so a  
23      component bean would be like for a pipe, in CONTAIN it  
24      would be a cell. And what we have done is we used to  
25      have an application for post-processing, VEDA, very

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 similar to the NPA. We have combined that as a plug-  
2 in under this GUI client application, so even the VEDA  
3 animation stuff is all done using this architecture.  
4 In the future, we're going to be moving AcGrace into  
5 this, too, I believe, but we'll get to that.

6 The CAFEAN stuff, the plug-in also covers  
7 how the calculations are done, how the executables  
8 actually talk to this runtime and display of data as  
9 they are running and as to the database server. Even  
10 though it's not shown here, there is an interface to  
11 CAFEAN.

12 MR. SIEBER: Does that exist?

13 MR. GINGRICH: Which?

14 MR. SIEBER: The database server.

15 MR. GINGRICH: Yes. Actually, that is  
16 being implemented. We used to have a database  
17 interface to Oracle, Sybase, anything that supported  
18 SQL. But IBM recently converted or released their --  
19 I forget the name of it. They had a free -- well, it  
20 wasn't free. They had a version of a database server  
21 that they recently released into the public called  
22 DERBY and we're actually implementing that. So you  
23 won't even have to have your own database system. You  
24 can actually just use SNAP right out of the box and it  
25 will keep track of things for you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Let's see. Yes, next slide. Design  
2           improvements. As I talked about, this CAFEAN stands  
3           for this Common Application Framework for Engineering  
4           Analysis. We have converted the TRACE plug-in into  
5           this JavaBean format, which is basically --

6           CHAIRMAN RANSOM: Now, the TRACE plug-in,  
7           does that mean a converter that will read a RELAP5  
8           deck?

9           MR. GINGRICH: No.

10          CHAIRMAN RANSOM: And spit out a TRAC  
11          deck?

12          MR. GINGRICH: No, this is just the TRACE  
13          plug-in interface, the GUI for building decks and  
14          such.

15          CHAIRMAN RANSOM: You didn't have to  
16          rewrite all of that, did you?

17          MR. GINGRICH: Well, it wasn't rewritten.  
18          It was, basically, converted, massaged into this new  
19          JavaBean format. As I said, the post-processor has  
20          been moved into the interface as a plug-in itself.  
21          The database has been converted or is being converted.  
22          There is a jEdit text editor that is a very powerful  
23          text editor. It's freeware that we directly export to  
24          now when you complete creating your model on the  
25          graphical side.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 Right now SNAP still has some misfeatures  
2 that may need to have the user go in and edit by hand,  
3 so we can edit. We can export directly to the jEdit  
4 editor, so if the user wants to go in and make a  
5 change at SNAP this doesn't support yet, he can still  
6 do that.

7 CHAIRMAN RANSOM: Well, one of the  
8 criticisms that I have heard of this is that,  
9 generally, SNAP and, say, converting a RELAP5 deck or  
10 generating, I guess, a TRACE deck, spit out a binary  
11 file.

12 MR. GINGRICH: Right.

13 CHAIRMAN RANSOM: Which was sort of  
14 meaningless to the user, and so it was not possible to  
15 go back and edit that in the normal input stream.

16 MR. GINGRICH: Well, that's one reason we  
17 had this. Yes, that's one of the reasons we had this.

18 CHAIRMAN RANSOM: Are you going to be able  
19 to do that?

20 MR. GINGRICH: Yes. And we actually  
21 address that in another way, too. We have an editor  
22 that can go right in to look at the raw binary format  
23 in a data structure.

24 CHAIRMAN RANSOM: And interpret it, I  
25 guess.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. GINGRICH: I'm sorry?

2 CHAIRMAN RANSOM: Would it interpret it?

3 MR. GINGRICH: Yes.

4 CHAIRMAN RANSOM: So that the user would  
5 know what was intended?

6 MR. GINGRICH: Exactly. So that's  
7 actually provided with the distribution of staff when  
8 you download it. We also support something called  
9 reference models. One of the criticisms we have had  
10 in the past, when we moved to this new architecture,  
11 we got rid of what was called the underlying reality  
12 layer, which kept a physical representation in SNAP's  
13 memory at all times.

14 So if you did renodalization of a pipe,  
15 for instance, you always kept somewhere in that data  
16 structure the original pipe dimensions, so that no  
17 matter how many times you renodalized it, you would  
18 always be able to go back to the original pipe. Well,  
19 we blew that away, because it was a really ugly data  
20 structure.

21 So to recapture the ability to go back to  
22 our original pipe, what we did is we make these  
23 reference models, which allows you to go right back to  
24 the original model for any component in that model, so  
25 we have recaptured something we had lost accidentally.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The extensibility, we're actually moving  
2 over to the standard industry or rather this industry  
3 standard JavaBeans has brought us a lot. We can use  
4 any JavaBean that's out there on the web, any JavaBean  
5 anywhere anyone has developed for a graphical  
6 interface, a plotting package, anything of that  
7 nature, we can grab it and jam it right into a  
8 directory. That's all you do. You just place these  
9 JavaBeans into a directory and when you load SNAP, it  
10 reads it.

11           CHAIRMAN RANSOM: It's all run in Windows  
12 on PC?

13           MR. GINGRICH: It will run under Windows  
14 and it runs under Linux. Anything that has a Java  
15 virtual machine it will run under. I believe Joe  
16 Kelly even uses it on a Mac.

17           Like I was saying, some of the stuff we  
18 have been able to get. Okay. This JavaBean gives us  
19 -- the custom beans can be independently developed and  
20 shared and we can use a shared repository for  
21 contributed beans. Anything that is written is  
22 written as an independent and right now, we have --  
23 it's not really an agreement, but kind of a  
24 gentleman's agreement, between naval reactors, KAPL  
25 and Bettis, and they love this approach, because they

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have a lot of stuff that we can't see, because they  
2 are super secret stuff.

3 But they can still use this architecture,  
4 because any plug-ins they make, they keep, but they  
5 get to use all of our graphics, all of our data  
6 structures without hurting themselves. Likewise, we  
7 get some stuff out of them, too, but I will get into  
8 that later.

9 This Python scripting here, Python is a  
10 scripting language, very popular. I'm not sure if you  
11 have heard of it. It's kind of like PERL only it's an  
12 advanced PERL. We got this, because there is actually  
13 a preexisting Jython, which is a Java implementation  
14 in PERL -- in Java. Someone help me here.

15 MR. STAUDENMEIER: Python implementation  
16 in Java.

17 MR. GINGRICH: Thank you. And that was  
18 implemented very easily in SNAP because of its  
19 subject. You know, it's a very strict, you know, we  
20 have a very clean interface. And CORBA, it's just  
21 that's old news. We haven't changed any of that.

22 Plug-ins contain all analysis code  
23 specific classes. That means that TRACE knows all  
24 about TRACE components. RELAP knows about all of  
25 RELAP components. And right now, all of our plug-ins,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       except RELAP, are in this new format. RELAP, if you  
2       will remember, was the first one we had implemented  
3       and we changed our architecture, and we just simply  
4       haven't gotten back to converting it yet. There's a  
5       strong interest in doing so. It wasn't initially in  
6       our plan, because we hadn't planned to change the  
7       architecture. This will either be done in 2006 or the  
8       Navy may end up doing this. They have expressed  
9       interest in doing this themselves and paying for it.

10               There are feature plug-ins. A feature  
11       plug-in still fits in the same architecture using the  
12       same tools. We have this RELAP to TRACE Vessel  
13       Conversion Wizard because, obviously, a TRACE 3-D  
14       vessel, you know, you will need help if you're going  
15       to be making any migrations in that direction from  
16       RELAP. As I said, the API is published. You can  
17       actually go to this website and you'll see it. You  
18       can read it in great detail.

19               I'm going to try to go through this pretty  
20       quick. I have mentioned a lot of this already. We  
21       support different windowing types. We have this  
22       multi-window mode where you have each frame, each  
23       component is in a different window, but the more  
24       popular for window users is to have all of it under  
25       one window with each little box capturing the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 functionality.

2 CHAIRMAN RANSOM: Now, is that one of the  
3 NPA type graphical displays?

4 MR. GINGRICH: Yes, this is what you're  
5 seeing here.

6 CHAIRMAN RANSOM: And that's just carried  
7 over into this then?

8 MR. GINGRICH: Yes. You can load this.  
9 Well, you probably --

10 CHAIRMAN RANSOM: There is going to be an  
11 automated way of producing this mass?

12 MR. GINGRICH: There is indeed. That's  
13 one of the things that we have added, and one of the  
14 reasons we want to put the animation, this NPA  
15 functionality inside of this GUI, is because now when  
16 you bring up -- let me see if I have it. Here is how  
17 the component navigator works, just labeling different  
18 parts here. This is not really something you need to  
19 -- what you could do, now, when you normally build a  
20 model or edit a deck, you will be looking at this. To  
21 make an animation, to make --

22 CHAIRMAN RANSOM: Is that a drag and drop  
23 type function?

24 MR. GINGRICH: Yes. To make these things,  
25 there is a palette up here. You don't see it all

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 right here. You see some of the tools. You will see  
2 pipes and things.

3 CHAIRMAN RANSOM: Valves and junctions.

4 MR. GINGRICH: Right. Any component and  
5 code supports will be up here. You can just drag and  
6 put it on the palette and connect them.

7 CHAIRMAN RANSOM: You then open up a box  
8 to put the data in for that component?

9 MR. GINGRICH: Yes. What will happen is,  
10 let me go back, that will open up a properties view.  
11 If you double click on any component you drop, you  
12 will see a properties view.

13 CHAIRMAN RANSOM: Okay.

14 MR. GINGRICH: Okay. Everything has a  
15 property, because everything is a bean. Anything you  
16 can see is a bean and all beans have properties.

17 MR. SIEBER: Baked bean.

18 MR. GINGRICH: And one of the neat things  
19 about beans, if you select several of them, say you  
20 select several pipes and you say I want to change the  
21 property of the length for all of these pipes all at  
22 once or I want to change the coefficient of friction  
23 or whatever, whatever property it supports, you can  
24 bring up this property thing and only the common  
25 properties will be editable, and you really get that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 for free, because the JavaBeans support that kind of  
2 editing. We didn't have to do any extra programming  
3 for that.

4 So anyway, that's how you would change the  
5 properties of a pipe or any of these components. And  
6 everything is a bean even these connections here are  
7 beans. You can, you know, change which components  
8 they connect to, you know, different features.

9 Now, you see, this is an animation model.  
10 This is the equivalent of an NPA deck. What we  
11 actually did here is we took our -- I keep getting the  
12 direction mixed up. We just grabbed this image.  
13 There is a "select all" under edit and you drag that  
14 over to an animation model canvas and drop it, and it  
15 will automatically build this view for you. It will  
16 show you the pipe. It will even attach this range  
17 dialogue here. You have to tell it what the range is,  
18 but it attaches that dialogue for you. Let's see.

19 CHAIRMAN RANSOM: A previous model had a  
20 U-tube in I thought, didn't it, or is that embedded  
21 within that blue bar?

22 MR. GINGRICH: I'm sorry?

23 CHAIRMAN RANSOM: Well, I thought your  
24 previous nodalization diagram had like a U-tube --

25 MR. GINGRICH: Oh, not that particular

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 one. No, I'm sorry.

2 CHAIRMAN RANSOM: Oh, okay.

3 MR. GINGRICH: I just meant, generally,  
4 when you take a nodalization and move it over. Yes,  
5 the nodalization this came from looks just like this.

6 CHAIRMAN RANSOM: Oh, okay.

7 MR. GINGRICH: So it makes creating  
8 animation models extremely easy and all these are  
9 customizable. They are just graphics. Let's see.  
10 Oh, yes. One of the improvements we have done in  
11 these animation models is we can have multiple data  
12 sources. One of the data sources is a Python. You  
13 can just write your own Python script if you just want  
14 to make up, you know, some kind of a sequence to  
15 compare your data with or to maybe show you a timing  
16 sequence or something.

17 You can actually hook this up to an  
18 experimental data channel and, at the same time, hook  
19 this up to a code calculation, so you can compare  
20 maybe all three at the same time and you could have  
21 your code, your experiment and maybe a test you wrote  
22 in Python running side-by-side.

23 CHAIRMAN RANSOM: Does this NPA capability  
24 allow you to interactively run?

25 MR. GINGRICH: Yes, yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RANSOM: So you can open valves,  
2 close valves as the thing is running?

3 MR. GINGRICH: Yes, absolutely. This has  
4 greatly enhanced NPA. Here you're seeing, this here  
5 is a source editor for one of the scripts. You can go  
6 in here and edit any variable. You can assign  
7 variables, user variables, to components of your input  
8 deck. Any value that is editable in the deck you can  
9 assign a user variable to and bring it forth.

10 These are editable dialogues now as you  
11 can actually see. You can make an engineering  
12 template, if you will, and hand it over to an analyst  
13 and say okay, if you have a bunch of these to run,  
14 there were a bunch of calculations like this you want  
15 to run, just go into this template, change the  
16 parameters you want to change, dump the deck or just  
17 submit the calculation and that's all he has to do.  
18 It greatly simplifies that kind of work. Let's see,  
19 did I miss anything?

20 Parametric constants. Yes, you can even  
21 define. Some of the constants you can define to be  
22 parametric variables. Code SNAP has an ability to say  
23 okay, what range do you want to vary these parameters,  
24 these special variables, over and it will submit for  
25 you a whole sequence of runs that only varies those

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 variables.

2 MR. STAUDENMEIER: An example of that  
3 might be a break spectrum you could run. You could  
4 define variables that define the break size and tell  
5 it to run 10 cases in the range of this range and it  
6 will automatically fire off 10 runs with various break  
7 sizes for you.

8 MR. GINGRICH: Yes, there is a lot of SNAP  
9 I'm not showing you. There is an execution monitor,  
10 which actually runs like a daemon. You can put it on  
11 your cluster. It talks over the network or it has  
12 that ability to talk over the network.

13 We can set up this execution daemon on our  
14 cluster, have the analyst sitting at his desktop PC  
15 who is connected to that network and submits 100 runs  
16 to the cluster just by selecting parametric run and  
17 submitting this job. I haven't done 100 runs, but I  
18 have tested the capability. It does work. It needs  
19 a little work. Right now, if I start the job as  
20 myself and Joe comes along and submits a job to it,  
21 it's going to be running it as me on the cluster.

22 CHAIRMAN RANSOM: Is there any thought or  
23 plan to build this as an intelligent interface that  
24 would help the model developer?

25 MR. GINGRICH: Someone's feeding you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 information, I think.

2 CHAIRMAN RANSOM: Pardon?

3 MR. GINGRICH: This is just one of the  
4 things that has come up. You're really hitting the  
5 nail on the head. One of the criticisms we have had  
6 is that this is still a little bit too hard for an  
7 average user to use, but we are looking. In 2006 we  
8 are going to be submitting, what do you call that, a  
9 request for --

10 MR. STAUDENMEIER: Request for a proposal.

11 MR. GINGRICH: Request for a proposal for  
12 doing, for creating a more intelligent possibly rule  
13 driven -- we haven't really specked out exactly what  
14 we would want out of it yet. We don't want to take  
15 the analysts out of the loop, because we want to make  
16 sure he's doing something intelligent with this  
17 analysis.

18 CHAIRMAN RANSOM: Well, the hope was that,  
19 originally, with intelligent interfaces is you bring  
20 some standards into it.

21 MR. GINGRICH: Exactly.

22 CHAIRMAN RANSOM: And so more people who  
23 do things in a similar way.

24 MR. GINGRICH: Right.

25 CHAIRMAN RANSOM: And of course, that has

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a common mode failure mechanism built in.

2 MR. GINGRICH: There is always that risk,  
3 yes.

4 MR. STAUDENMEIER: Could you go back to  
5 that channel template? One thing we envision with  
6 these intelligent interfaces are these engineering  
7 templates where the analyst puts in physical  
8 dimensions of things and then automatically, in the  
9 background, that will be noted up to code nodalization  
10 guidelines and things like that for that type of  
11 component.

12 MR. GINGRICH: Exactly.

13 MR. STAUDENMEIER: And for the calculation  
14 that you have done, so that the analyst doesn't have  
15 to worry about details like that. So you're building  
16 an --

17 CHAIRMAN RANSOM: Presumably, it improves  
18 the reliability.

19 MR. GINGRICH: Right.

20 CHAIRMAN RANSOM: Or reduces the chance of  
21 error, I guess.

22 MR. GINGRICH: Yes. We can actually build  
23 in all of the user recommendations right here, so that  
24 gets into it.

25 MR. CARUSO: Have you thought of including

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the capability of building piping networks specifying  
2 the components and engineering terms like 8 inch ID  
3 schedule 80 pipe?

4 MR. GINGRICH: That is actually what the  
5 Navy wants to do. I have said the Navy wants to be  
6 able to take a CAD drawing.

7 MR. CARUSO: Right.

8 MR. GINGRICH: An actual --

9 MR. CARUSO: I wasn't so bold as to  
10 suggest that, but that's what I was thinking about.

11 MR. GINGRICH: They will.

12 MR. STAUDENMEIER: But something like this  
13 could build that in. You could have a selection for  
14 the specific pipe type that you want, it would be a  
15 drop-down menu.

16 MR. CARUSO: Right.

17 MR. STAUDENMEIER: And you would pick it  
18 and maybe lost coefficients, you could say you have an  
19 elbow that bends this much.

20 MR. CARUSO: Right.

21 MR. STAUDENMEIER: And things like that.

22 MR. CARUSO: Standard elbow, a 5D bend.

23 MR. STAUDENMEIER: Yes, get standard lost  
24 coefficients for that geometry or things like that.

25 MR. GINGRICH: The initial proposal for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the generic GUI, which started way back in '95 and Joe  
2 was on the team, I'm not sure if you sat on those  
3 teams. You did? Okay. So that's --

4 MR. CARUSO: That was one of the  
5 suggestions I made back then.

6 MR. GINGRICH: Oh, okay. Yes, that's  
7 still on the list. One of the things we want to do is  
8 to make a library of components and you could do that  
9 now, except that there is no special graphical view of  
10 that. It would just be loading a model in. You can  
11 cut and paste between models very easily in SNAP, so  
12 that is how you would handle that for now, but you  
13 could easily.

14 MR. MURRAY: Yes, I think SNAP allows us  
15 to do a lot of things now, a lot of the things that  
16 you want. It's just we still have to -- what we have  
17 heard is some of our users don't necessarily want to  
18 be the ones to do all that, and so we need to do and  
19 build a lot of that stuff for them. But a really  
20 advanced user can do all that for themselves now if  
21 they really want to.

22 MR. GINGRICH: Yes. The comment was at a  
23 recent stakeholders meeting that they didn't want to  
24 actually have to learn the code and learn how SNAP  
25 worked, and that is a very good criticism. It's an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 extra layer of work to learn how to use SNAP.  
2 Eventually, I would like to just have SNAP replace all  
3 of the input processing across the board for all of  
4 our codes. Kind of like Joe was talking about having  
5 a common materials library and a common steam table,  
6 this could be the common user interface.

7 CHAIRMAN RANSOM: We need to wind this up.

8 MR. GINGRICH: I have one more slide.  
9 Future activities is develop PARCS plug-in. We're  
10 currently working on MELCOR. It's almost done. We'll  
11 have it a finished version in June.

12 CHAIRMAN RANSOM: Is MELCOR going to be  
13 incorporated into the codes, TRACE?

14 MR. GINGRICH: No.

15 MR. KRESS: It's stand alone.

16 MR. GINGRICH: It's a stand along plug-in,  
17 yes. Remember, all of these plug-ins can be stand  
18 alone. We don't have to distribute anything with it.

19 MR. KRESS: Yes, that would affect the  
20 runtime.

21 MR. GINGRICH: Yes. That's another reason  
22 to have plug-in type capabilities. You don't want to  
23 have to load all of the stuff when you're doing any of  
24 this. We want to replace the existing plotting  
25 package. The existing plotting package is C based.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 It required X-Windows, the biggest killer right here.  
2 It requires X-Windows to run on, so we had to put an  
3 X-Window emulation on your Windows platform to use it.  
4 It's difficult and expensive to maintain. If this was  
5 in Java, this would be a no-brainer, but, you know, in  
6 C, we have to kind of get out of our nice, clean  
7 interface and go into the old interfaces.

8 This is what we were just talking about.  
9 We want to improve these user interfaces, illicit,  
10 something a little bit more intuitive to the users,  
11 develop a simple graphical user interface. We're  
12 going to try to get something together in 2006.

13 MR. SIEBER: What are the illicit user  
14 requirements?

15 MR. KRESS: Will the MELCOR plug-in have  
16 MACCS associated with it?

17 MR. GINGRICH: No, but that's something  
18 we're going to add probably in the future. We need to  
19 look not only at MACCS, but there's also others like  
20 RADTRAD and some of these other things --

21 MR. KRESS: Yes.

22 MR. GINGRICH: -- that the Agency uses  
23 that would be useful to be able to move data from one  
24 of these codes to another.

25 MR. KRESS: Then your database could

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 include all the site specific data.

2 MR. GINGRICH: Yes, it could. The  
3 database is something that we really haven't seen much  
4 here, but it's extremely powerful. Anything you can  
5 see here is retrievable and has a specific ID  
6 associated with it. It's extremely hidden, but it's  
7 very powerful.

8 CHAIRMAN RANSOM: Okay. Well, I would  
9 like to thank RES for putting together the  
10 presentation today. It has been very informative. I  
11 don't know. Can we dispense with the record at this  
12 point? We can go off the record. I think we're  
13 essentially wound up.

14 (Whereupon, the meeting was concluded at  
15 6:45 p.m.)

16

17

18

19

20

21

22

23

24

25