

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
Subcommittee on Human Factors

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Tuesday, September 10, 2002

Work Order No.: NRC-522

Pages 1-242

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

SUBCOMMITTEE ON HUMAN FACTORS

+ + + + +

TUESDAY,

SEPTEMBER 10, 2002

+ + + + +

The Subcommittee met at 8:30 a.m. in Room T2B3,
Two White Flint North, Rockville, Maryland, Dana
Powers, Chairman, presiding.

ACRS MEMBERS PRESENT:

DANA A. POWERS	Chairman
GEORGE APOSTOLAKIS	Member
MARIO V. BONACA	Member
F. PETER FORD	Member
THOMAS S. KRESS	Member
GRAHAM M. LEITCH	Member
STEPHEN L. ROSEN	Member
JOHN D. SIEBER	Member
GRAHAM B. WALLIS	Member

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 NRC STAFF PRESENT:
2 MEDHAT EL-ZEFTAWY Designated Federal Official
3 AUGUST CRONENBERG Cognizant Staff Engineer
4 MARK CUNNINGHAM NRC Staff
5 JOHN FLACA NRC Staff
6 ERASMIA LOIS NRC Staff
7 SCOTT NEWBERRY NRC Staff
8 J.J. PERSENSKY NRC Staff
9 NATHAN SIU NRC Staff
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C-O-N-T-E-N-T-S

Introduction 4

NRC Human Reliability Analysis and
Human Factors Research Programs Overview
 Scott Newberry 7

NRC Human Reliability Analysis Research
Program, Erasmia Lois 18

Human Factors Research at the U.S. Nuclear
Regulatory Commission
 J.J. Persensky 86

Discussion 187

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

(8:47 a.m.)

1
2
3 MR. POWERS: The purpose of this
4 subcommittee is for the staff to inform the ACRS on
5 recent progress related to the agency's research
6 programs on human reliability analysis and human
7 factors.

8 I will caution you that the ACRS tends to
9 glump this whole thing together as human factors or
10 human performance. Sometimes that causes some
11 confusion in nomenclature, so indulge us in our
12 peculiar resistance to making fine distinctions in
13 this area.

14 The purpose and the scope of these
15 activities will be discussed as well as the
16 relationship between the two disciplines.
17 Presentations will include examples of how human
18 factors, data, and information are incorporated into
19 agency, human reliability tools, and how HRA can be
20 used to identify and prioritize human factors data and
21 research needs. Hopefully we'll discuss those
22 research needs.

23 Gus Cronenberg is the cognizant staff
24 engineer for the meeting and knows more about it than
25 all the rest of us combined I'm sure. Medhat el-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Zeftawy is the designated federal official.

2 Rules for participation in today's
3 meeting have been announced as part of the notice of
4 this meeting previously published in the Federal
5 Register of August 22, 2002. A transcript of the
6 meeting is being kept. Open portions of this
7 transcript will be made available as stated in the
8 Federal Register Notice.

9 It is requested that speakers first
10 identifying themselves and speak with sufficient
11 clarity and volume so that they can be readily heard.

12 We have received no written comments or
13 request for time to make oral statements from the
14 members of the public for this meeting.

15 Before we get started here, I want to give
16 the members just a little bit of background. The
17 purpose of the meeting is to understand where the
18 agency is going in its human factors research. Again,
19 using the word "human factors" to cover human
20 reliability, human performance, and anything else that
21 has human involved in it.

22 The ACRS has been on record as recognizing
23 that human factors is the emerging reactor safety
24 issue of the future. On the other hand, ACRS has been
25 relatively critical of many of the plans that the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 agency has put together to attempt to coordinate all
2 the activities involving the word "human" within the
3 agency.

4 Today we're going to be more focused,
5 focused primarily on the research activities. And in
6 developing this agenda with Dr. Siu, I thought that
7 what we should concentrate on, it clearly would be
8 useful to get the subcommittee educated on what has
9 transpired since we've got together last time. But
10 it's far more important for us to understand what the
11 agency needs are, what the plans are to address those
12 needs, and how well those tools, models, and
13 understanding need to be developed in order to achieve
14 what the agency needs to achieve in this area.

15 In fact, we've developed an agenda that
16 allows copious time for discussion of what may seem
17 philosophical issues. But I think it's important here
18 that we have a good understanding of what the thinking
19 is behind the strategy to not only understand what's
20 going to be done but why it's going to be done and how
21 well it's going to be done.

22 The intention is in fact to produce a
23 letter to the Commission reporting what we have found
24 about this human factors research program since it
25 doesn't really mesh well with the plans for the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 research report itself. So, we're going to address it
2 separately.

3 Consequently, I am going to poll the
4 members twice today on what their thinking is. Once
5 just before the break for lunch, which should pretty
6 much bring to conclusion any of the formal
7 presentations, and once after we have completed our
8 discussions with the members of the staff in this area
9 so that we have a good understanding of what our
10 positions are and what our thinking in these subject
11 is.

12 Do any other members have comments they
13 want to make before we get started?

14 (No response.)

15 MR. POWERS: In that case, I'll call upon
16 Scott Newberry to open up the proceedings here while
17 Nathan sorts out whatever hat he's wearing today.

18 MR. NEWBERRY: Thank you, Mr. Chairman.
19 I'm glad to be here. I wanted to come this morning
20 and kick off the presentation and introduce the folks
21 here at the table.

22 I think that you did a good job going
23 through the objectives of the brief. That's our
24 understanding of the, to discuss aspects of human
25 reliability and human factors and all elements or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 interactions pertaining to those areas.

2 By way of introductions, of course, Nathan
3 Siu, to my left, you all know. I want to mention that
4 there's a bit of a transition going on in my staff.
5 I'm bringing some work from Nathan to Erasmia Lois on
6 my right, who will be giving a lot of the presentation
7 today. So I'll just point that out to you. And of
8 course, Jay Persensky to my right, who works for
9 Farouk.

10 These programs are in two different
11 divisions, which is also interesting I think, that
12 human factors is under Farouk and the human
13 reliability is in the risk assessment division and
14 research. That's a topic that we revisit periodically
15 in terms of whether that's best. So, this is a joint
16 division brief.

17 MR. POWERS: I would just comment that
18 it's been my perception that research as an
19 institution here at NRC has been showing an enormous
20 capacity to work across organizational lines. And I
21 point to the PTS as an example of where that's been
22 particularly effective. So I'm not sure that I would
23 be apologetic about having things in two different
24 organizations as an ipso facto sort of thing.

25 MR. NEWBERRY: Well, I don't want to come

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 across as apologizing. I think we continually try to
2 look at better ways to do business, not just
3 communicate. But you do have a team approach here on
4 this brief, which is I guess what I wanted to
5 mentioned.

6 My remarks will be brief. I'm going to go
7 through the objectives of the brief a little bit.
8 I'll go through the outline of the brief and talk
9 about some of the reasons we think this program is
10 important. Then I'll excuse myself to head off to
11 another brief.

12 But before I get into the briefing
13 objectives and outline, I thought I'd mentioned two or
14 three things. First, I hope you'll see today that
15 we've been responsive to a previous input from the
16 committee. You reviewed the research program last
17 year, and we talked with you about that. We sent you
18 a letter in terms of your comments on the methods
19 development and where we should move the program. I
20 hope you'll see that we've done that. You'll see a
21 pretty extensive list of applications, PTS being one
22 you mentioned Dana, where this work is important.

23 We've been trying to get to you but have
24 been doing other things since 9-11. Some of the
25 people here have been working hard since last

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 September. I think we wanted to get over here sooner
2 but weren't able to do that.

3 The last thing I'll mention, and it was
4 certainly emphasized in a recent SRM received from the
5 Commission on our budget, and that is the need to
6 constantly revisit our programs to see if they need to
7 be altered, increased in scope or depth, or even
8 sunset.

9 Even in the meeting with the committee
10 yesterday on Reg 1174, the issue of David-Besse came
11 up. It might come up today. I wouldn't be surprised
12 if it came up, so I thought I would just indicate to
13 the committee that in the context of our programs, and
14 I think in this one, we are considering re-engaging
15 the Commission on what should be done on the
16 experience this year that could relate to safety
17 culture research efforts. That would be the plan I
18 would think, that we would have to re-engage the
19 Commission given past guidance that they had given us
20 before we set a direction. So, that's on our plate
21 and I wanted to mention that up front before going
22 into the view graphs.

23 Let's go to the objectives of the brief,
24 which I don't think I have to spend much time on
25 because the Chairman already mentioned them. But,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we're going to provide an overview of the program, the
2 activities in the program, and try to emphasize the
3 relationships between human factors and human
4 reliability aspects. Then, of course, we look forward
5 to getting feedback from the committee. It's going
6 to be an interactive discussion. That's what we've
7 planned for.

8 Next slide. I won't read the view graph,
9 but I'm going to go into a little bit of why we think
10 these activities are important. I'm hopefully that
11 you'll find Bruce Hallbert's presentation, a little
12 bit later on the agenda, interesting and will provide
13 some context for how the program overall relates human
14 factors and human reliability work.

15 Next slide. There's considerable activity
16 right now across the agency in terms of rule-making,
17 licensing, the oversight process, and just the basic
18 infrastructure itself in terms of where we prioritize
19 what we think is important, etcetera. I think you'll
20 see today that this program provides consider input to
21 a number of those areas, PTS being one that Dr. Powers
22 mentioned. But there's a broad need in my opinion
23 across the agency for input from these programs.

24 PARTICIPANT: Could you eventually tell us
25 what the specific useable outputs will be, which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you'll be providing to these other --

2 MR. NEWBERRY: Yes, my point today is that
3 it is our absolute intent to go through them.

4 PARTICIPANT: Useable outputs will be
5 given to thermalhydraulics from this -

6 MR. NEWBERRY: I don't know that
7 thermalhydraulics is going to be on the list, but you
8 should see a matrix in my staff's discussion that
9 you'll be able to engage on in detail.

10 MR. APOSTOLAKIS: Is it because
11 thermalhydraulics is so fundamental it doesn't get any
12 input from anything?

13 MR. POWERS: There's a major undertaking
14 to understand why there are so many human errors
15 committed in handling the momentum equation.

16 MR. NEWBERRY: In terms of operating
17 experience, there are some major programs to learn
18 from feedback. Certainly that's been the case this
19 year. You'll see activities discussed today that get
20 into all aspects in terms of the role of the operators
21 certainly being able to provide recovery and prevent
22 damage of the core, but also the possibility of
23 worsening the situation.

24 Programs, the draw from our PRA
25 experience, research programs, of course, line

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 assessments done by the industry and work that we have
2 done going back to things like IPE submittals and the
3 like. But also, we're involved in reviewing proposals
4 and applications from the industry.

5 I think one of things where I expected
6 considerable time to be spent today is what's coming
7 in the future, future trends, future events. I know
8 the committee has been interested in interface issues,
9 modifications to current control rooms, staffing
10 policy, regulatory police involved with staffing as
11 well as the new reactors coming down the pipe where
12 there could be significant human factors/human
13 reliability issues.

14 The agency is faced with a number of
15 questions in terms of the impacts of these changes.
16 From a regulatory point of view, certainly there's a
17 question, I suppose quantitative sorts of questions
18 that can be asked in terms of the impact on risk and
19 how the human contribution to the risk profiles of
20 plants manifest itself. And, we'll get into that a
21 little bit today.

22 Let's go to the next view graph. I think
23 Nathan pulled this together. It's really just a
24 summary of what I mentioned to show that the human
25 factors, PRA, or human reliability work -- providing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 input to the decisions that the agency is faced with.

2 PARTICIPANT: That's so general. It
3 doesn't really tell me anything until you go into
4 specific needs and specific outputs.

5 MR. NEWBERRY: Yes, it's very general.
6 Sometimes it's not clear to some that our products are
7 utilized in actual rule-making decisions, actual
8 licensing decisions.

9 Just recently, I know Dr. Persensky and
10 the staff provided a report to NRR that was requested
11 and should be utilized in how to look at the
12 monitoring aspect of the reactor oversight process in
13 terms of looking at corrective action programs and the
14 inspection program. So, that's what is meant by
15 monitoring.

16 It was mentioned that we're doing work in
17 the pressurized thermal shock area, which will come up
18 today I'm sure. These folks are providing input to
19 that integrated assessment of the current PTS rule.
20 We'll have to see to what extent we should rely on the
21 operator in the context of looking at potential
22 modifications to that rule.

23 Then of course, the licensing decisions,
24 where plants are ascribing to make a modification
25 either going from a manual to an automatic feature or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 automatic to a manual feature. Those are licensing
2 decisions, and we're working to provide input into
3 that sort of decision.

4 Of course, all the way over to the left
5 there are the agency performance goals, which we're
6 trying to work towards. So, that's all the slide is
7 trying to show in a general way. I know looking at my
8 staff's view graphs, which you'll get into today,
9 there is plenty of examples I think that would work
10 from this outline.

11 Let's go to the next slide, just sort of
12 a way of introduction, then I'll just move away from
13 the table and let Erasmia and Jay take over the brief.
14 I mentioned that Erasmia and Jay are the leads for the
15 HRA and human factors research programs, and they'll
16 be doing the brief today.

17 I think you've got copies of our
18 programmatic material, which are referenced on the
19 slide there in terms of the program plan, and the
20 second paper, which outlines the human factors
21 activity.

22 My interest in moving forward here as
23 well, which I would mention, is not only to receive
24 input from the committee but we're trying to give
25 these plans a little bit more visibility. In both

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 inside and outside the agency, I think we do need
2 input. We need an understanding of where the work is
3 being used. We're trying to do a better job at that,
4 interfacing with the program offices, both NRR and
5 NMSS. This is one step in that process.

6 I would suggest we go ahead and move ahead
7 with the brief unless people have questions for me on
8 my comments.

9 MR. POWERS: One of the issues that you
10 may have touched on in your discussion was we tend to
11 say the entirety of our human performance is focused
12 on the performance of the licensees, and in fact, we
13 have substantial activities within the agency itself
14 where we have human performance most notably the
15 inspection forces, both resident and nonresident at
16 the various sites. Do I understand that you're
17 thinking of looking into that aspect of human
18 performance as well?

19 MR. PERSENSKY: If I may? I'm Jay
20 Persensky.

21 One of the things that was in the second
22 paper on the human factors aspects of the project was
23 an attempt to transfer knowledge. I think that's the
24 way I characterize it in that paper. The idea there
25 was to develop some training programs for the staff,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the inspection staff, that they had a better
2 appreciation/understanding of some of the human
3 factors issues as well as just recognition that it's
4 time to call somebody else it. So, that's one of the
5 topics that I have here as far as an infrastructure
6 topic.

7 From the standpoint of nuclear power
8 plants, from the materials side, we've actually been
9 asked by NMSS to help them human factor, make their
10 inspection modules easier to use. So, we're working
11 with NMSS on that project right now. It's sort of a
12 consultative effort as opposed to a major research
13 effort, but we are providing some support in that
14 area. We're moving in that direction slowly.

15 MR. POWERS: One of the big issues that's
16 going to emerge tomorrow actually has to do with the
17 ease with which the NRC staff can approach the
18 significance determination process in the fire
19 protection area. I mean it's a classic human
20 performance kind of issue there. And so, I'm just
21 asking are we thinking about human performance, not on
22 the part of the licensee but on the part of the
23 regulator now?

24 MR. PERSENSKY: The simple answer is
25 "yes", we are.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. POWERS: Other questions for the now
2 gone Mr. Newberry?

3 (Laughter.)

4 MR. NEWBERRY: I'm right here. I was just
5 packing my bags.

6 MR. POWERS: If there are none, then let's
7 proceed ahead.

8 MS. LOIS: My name is Erasmia Lois. I
9 work for the Probabilistic Risk Analysis Branch of the
10 Office of Research. I undertook recently the
11 responsibility for the human reliability analysis
12 program. We're in transition as Scott mentioned and
13 Nathan had relayed before. He is here to answer your
14 tough questions. I am going to do the easy ones.

15 Regarding background in HRA, I was
16 involved earlier on at the NRC with the development of
17 what we called in the early 90s predicted performance
18 indicators through plant programs, program
19 effectiveness, maintenance, training, etcetera. Then
20 I moved on to review IPs and that gave me the
21 opportunity to really comprehend the importance of HRA
22 with respect to the PRAs. And recently, I've been
23 involved in developing standards, PRA guidance. That
24 also involves HRA.

25 Regarding the outline, I'm going to first

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 address the relationships of human reliability factors
2 then I will present an overall status of the plan,
3 what we have right now, activities that are going on
4 right now. Then I'm going to address a couple of
5 specific activities, the advanced reactors, and the
6 data collection and analysis project.

7 Next slide. This attempts to present the
8 interfaces of the human reliability and human factors
9 work. Human reliability is part of PRA, and PRA draws
10 on many disciplines: nucleonics, thermohydraulics,
11 etcetera. HRA is the part of PRA that helps model ---
12 understanding of human performance under accident
13 conditions.

14 The models, and they tell that we need to
15 do a PRA, come from work that is done from human
16 factors engineering and related disciplines:
17 psychology, etcetera. So human factors is focusing on
18 comprehending human performance in nuclear power
19 plants and under accident conditions. Models and data
20 developed there are used by HRA. Also, human factors
21 work in research. They define new issues that we
22 should cover as part of human reliability analysis.

23 As an output from performing HRA, we could
24 provide or are providing to human factors work area
25 that they may focus, they may need to focus more of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 their work scenarios or specific contexts.

2 HRA modeling needs, we have -- and also,
3 how to help human factors work to prioritize their
4 issues for work to be done.

5 MR. LEITCH: It seems to me, most of the
6 current vintage of plants were built with digital
7 instrument control systems -- I mean analog instrument
8 control systems I should say. Many of the
9 replacements are digital. Some of the replacements
10 are being done piecemeal as the system is obsolete.
11 There is a digital replacement for a particular
12 compound.

13 Now I would think that whole issue of how
14 that information is presented to the operator would
15 be, as Dana says, something with "human" in it. But
16 I'm trying to get clear, would that be something that
17 was analyzed in the human factors or human
18 reliability?

19 MR. PERSENSKY: It's primarily been a
20 human factors effort to date. We'll be discussing
21 some of that work. For the reasons that you just
22 brought up, we are doing some work in that area.

23 MR. LEITCH: Because we have very little
24 opportunity to design a completely new control room,
25 but there are a number of modifications being made

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that influence operator performance.

2 MR. PERSENSKY: Right, and we're pretty
3 much aware of those and we're tracking that both in
4 terms of what we're doing here to develop review
5 guidance. We're also with EPRI on their development
6 of some guidance for the design of hybrid control
7 rooms, which is what we call them.

8 MR. LEITCH: Okay. And you're going to
9 get into that more later?

10 MR. PERSENSKY: Yes, I'll get into that
11 later.

12 MR. LEITCH: Okay, thanks.

13 MS. LOIS: But also from my HRA
14 perspective, as our comprehension and understanding is
15 increased and the work is done at human factors, we
16 plan to also improve our modeling capability and data
17 capability for HRA analysis. So that's one feedback
18 look. And, and I'm going to talk a little bit more
19 later on that too.

20 MR. LEITCH: Okay, thank you.

21 MR. POWERS: The more I look at this
22 slide, the more I like it because it has lots of
23 things that can be the focus of our discussion.

24 One of those areas is the right side that
25 says "PRA" and then it says "HRA". I think there's no

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 question that the human reliability analysis that
2 takes place in PRA presents a set of crucial
3 questions, a set of crucial modes in there where you
4 have to have probabilities that the operator will make
5 an error of omission in the course of his activities.
6 And, we put numbers in there.

7 What I struggle to understand are really
8 two things. How well do we know those numbers that we
9 put in there, and how well do we know the distribution
10 of values that those numbers could actually adopt?

11 In the course of the day, I'd like to
12 explore that to know better how well we know those
13 numbers. If we know them well enough, that's one
14 position. If we need to know them better then how do
15 we go about knowing them better?

16 There have been a huge number of
17 approaches for developing those numbers. I think I
18 lost track right after the first one. But there's
19 slim, odd and a whole bunch of things. Culminating
20 perhaps in some Greek thing, which will forever remain
21 nameless otherwise.

22 MR. APOSTOLAKIS: Misspelled too?

23 MR. POWERS: I don't know whether they
24 misspelled it or whether the Greeks misspelled.

25 I'd like to have some understanding of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 where we stand there. It boils down to the question
2 of do we know things well enough there?

3 I'll comment that a source of confusion to
4 the ACRS or surprise confusion on my part -- the rest
5 of it was just surprise -- is that we've gotten a
6 string of power uprates coming before the committee in
7 which the times available to the operators to do
8 things have been shorten. Of course, people looked at
9 those and said does that have any impact on the safety
10 and reliability?

11 In general, the conclusion from both the
12 people applying for the license or the power extension
13 was that "no", there was no real impact. The
14 reviewers said the same thing. But, there was never
15 any what I'd call a detailed analysis that said we've
16 taken these variety of methods for estimating human
17 reliability and the vast amount of data that we have
18 available to supports those, we found that verily this
19 was true.

20 We did get some interesting numbers in
21 which relatively fine distinctions and probability
22 were made that seemed to be contrary to our intuition
23 on how accurately these HRA numbers can be estimated.
24 So, any clarification you could provide in that area
25 would be extraordinarily useful.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I do like the slide because it says that
2 there is a feedback between human factors and the HRA
3 models. And, I'd like to understand that better.

4 MR. FORD: On that issue -- and I'm new to
5 this field so please excuse the simplicity of the
6 question. HRA I understand, which is just the
7 probability that such and such an action will take
8 place at such and such a time.

9 What is human factors? Just how to improve on
10 that reaction time and reliability? Is it ergonomics
11 and things of this nature? Or, in that scenario, give
12 an example of human factors?

13 MR. PERSENSKY: Well, as you said, the
14 ergonomics, the timing -- human factors is a multi-
15 disciplinary science or discipline. It's often
16 referred to as human factors engineering. It's most
17 commonly heard, if you listen to ads and things like
18 that in terms of ergonomics. It addresses views and
19 things like that.

20 From a more scientific standpoint, it gets
21 into the issues of training procedures, the
22 qualifications of the people that are doing the work,
23 the man/machine interface. It's the whole picture of
24 how the person interacts with the system.

25 MR. FORD: Okay, so it's a way of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 improving on the actual data of HRA?

2 MR. PERSENSKY: One of the outputs in this
3 figure here is that it would be in fact to help build
4 a better database or to improve on the data that is
5 used in the HRA models.

6 MR. FORD: Thank you.

7 MR. SIU: I'd just like to comment. HRA,
8 certainly one of its functions is indeed to provide
9 numbers that go into the PRA. But HRA also develops
10 the, if you will, the input, the variables, the
11 parameters. It defines those parameters. It says
12 what are the errors that can occur or need to be
13 considered?

14 So there's a qualitative aspect to that as well.
15 There's an issue of what are the factors that affect
16 the likelihood of those acts succeeding or failing.
17 That's clearly where the --

18 MR. FORD: And the feedback is to somewhat
19 control the input parameters to the HRA.

20 MR. SIU: That's right.

21 MS. LOIS: The example, the second half of
22 this morning's presentation will help clarify that
23 issue.

24 Regarding the overall plan status, as
25 Scott mentioned before, we're behind because of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 unfortunately September 11th. The last plan update is
2 May of 2001. It's a five-year program. Some
3 activities are near completion. For example, the PTS
4 work and the work on quantification, including how do
5 you address uncertainty.

6 Other activities are underway or planned.
7 We expect to update it to keep the plan alive.
8 Therefore, dates and milestones will be updated and
9 projects will be added/deleted. For example,
10 vulnerability assessment was not part of the program.

11 Also, work on HRA guidance and standards. We
12 plan to have a higher level plan, to have a higher
13 level plan activity description.

14 Next slide please.

15 MR. POWERS: Let me ask you. When you say
16 a "higher level plan", it seems to me in the HRA area,
17 it's more than just the numbers. It's the
18 identification of where errors of omission can be
19 made. That's inherently a qualitative thing. You
20 just do that, and you do the best you can. People
21 critique you and over time it gets refined. By now
22 for existing reactors, I guess we've kind of got it.
23 I don't know that that's the case, but my hope is it's
24 the case.

25 But the numbers themselves, you put those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 numbers in and you say the probability of human error
2 is 1 chance out of 100 this guy will make a mistake.
3 And then somebody says well, how accurate is that? Is
4 it 1 chance out of 100, or is it 1.1 chances out of
5 100? You snicker and say it's between 1 in 10 and 1
6 in 1,000, is that good enough? How do I know that's
7 the case?

8 How do I persuade Dr. Ford over here, who
9 only understands corrosion potentials, and insist --
10 I mean he can understand corrosion potentials because
11 he can calculate them and then he can compare them
12 against experimental data. And if the curve doesn't
13 go through the lines, he does something to his model
14 to calculate it better, right?

15 How do I do a corresponding thing over
16 here to persuade him that the number I'm putting in
17 there has some relationship to reality?

18 MS. LOIS: We hope that we'll address this
19 question with demonstrating how we plan to collect
20 some data that will provide more objective values in
21 those estimates.

22 MR. WALLIS: I guess what the Chairman is
23 getting at, is there some kind of an academic
24 discipline or something?

25 MR. FORD: Is there an algorithm to show

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 response time, frequency of response times?

2 MR. WALLIS: Or are you charting new
3 territory all the time here, or is there some standard
4 way of doing it, which is established and recognized
5 and believable?

6 MS. LOIS: We have the opportunity through
7 simulator exercises to kind of establish response
8 time. I mean we get the time through
9 thermohydraulics. And then how well people respond to
10 that, the only real -- the best data we can have is
11 through simulator experiments, and that's exactly what
12 we're going to --

13 MR. FORD: But do you have a distribution
14 of response times from the simulator experiments? Can
15 you put down that that response time is an algorism of
16 each of the operators or experiments of the operator?

17 MR. APOSTOLAKIS: No, you can't.

18 MR. SIU: At this point, we can't. As
19 Erasmia is saying, we're trying to collect empirical
20 data. That collection won't be to just go out and
21 collect data, of course. There are qualitative models
22 that say there is certain things that seem to be
23 important that affect performance. In fact, you're
24 going to hear a nice presentation on that later today.

25 What you'll see also of course is that we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 don't yet have the mechanistic model that takes us
2 from these factors all the way to a human failure
3 event in the PRA model, which can be lots of micro-
4 errors and micro-recoveries all swished together into
5 some general functional failure. I think that's
6 something we could be driving towards.

7 I know Jay has been perusing some of
8 these things. When we talk about simulation models
9 for example for operators, one might hope to
10 eventually develop that kind of mechanistic
11 representation. We certainly don't have it at this
12 point.

13 MR. POWERS: One of the topics that has
14 come before the committee in just recent months in
15 this regard has to do with the power uprates again.
16 The particular issue, people assigned some probability
17 of human error. I think it was 1 in 100. When we
18 asked the applicant "do you test
19 on this in your simulator", he said "oh, yes. We test
20 on it regularly." "How quickly do the operators
21 respond?" He said, "Within about 30 seconds." They
22 never failed to do it correctly.

23 It was 52 times in one case that they had
24 never failed. And in all cases, the response time was
25 within 30 seconds. But they still used 1 in 100 as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the failure probability. That seemed to be a complete
2 mystery to everyone. I mean why that number in the
3 face of all this empirical evidence?

4 And of course people said, "simulators
5 are one thing, actual planned events are quite
6 another." So, to account for that. But, that still
7 didn't answer Dr. Wallis' question of why 1 in 100 and
8 not 1 in 10?

9 MR. SIU: Maybe we should continue, but
10 just a quick response on that, Dr. Powers.

11 Of course, one of the notions behind
12 ATHENA was that you try to look for the conditions
13 under which failure might occur, that might prompt the
14 failure. Not knowing anything about the example
15 you're talking about, I don't know how the conditions
16 space was probed to see if they could challenge the
17 operators in something that goes beyond --

18 MR. POWERS: They used THERP.

19 MR. SIU: Well, you're saying there's a
20 certain set of empirical data but it covered a certain
21 set of phase space, if you will. The question is are
22 there other parts of phase space that might be risk
23 important that were not probed and therefore, how do
24 you deal with that?

25 I guess all I can say is that in things

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 like PTS what we're trying to do is to use evidence
2 from talking with crews or trainers of crews and blend
3 that in to say under this circumstance, how likely do
4 you think success would be? But again, we don't have
5 the mechanistic model for doing that.

6 MR. BONACA: One question I have is in your
7 plan you talk about going to look at current symptom-
8 oriented procedures. And that was a suggestion that
9 we made about two years ago. Is there a plan already
10 in place to do that?

11 I guess the feeling is that there is so
12 much information there that could be very effective.
13 Because I know for one -- I participated in some of
14 them -- there is an enormous amount of information
15 developed to build the outcomes of the procedures.
16 And they're symptom-oriented in a sense. There was a
17 lot of effort to determine the likelihood of the
18 number of possible outcomes from a reaction. One
19 would be more successful than the other would be.

20 So, I would like to hear more about the
21 plan that you have to do that. I know you have it in
22 your plan.

23 And also, the accessibility of this
24 information to you. I mean will the licensee make it
25 accessible to you? Is it available? I don't know if

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it's the right time to ask that question, but I would
2 like to hear about that.

3 MR. SIU: At this point, quite honestly,
4 we haven't done anything on that. We had put it in
5 our plan. We had full intentions of doing work on
6 that problem, but again, with other activities getting
7 in the way, we just haven't gotten to it.

8 MR. BONACA: Because I wanted to say there
9 were literally hundreds or many years of simulator
10 data collected, reflected in those symptom-oriented
11 procedures. I mean the BWR effort last years with
12 iterations and iterations and refinements. So there
13 is a huge volume of work there. And if it's
14 accessible from the vendors, I think it would be a
15 great help.

16 It's being collected under this program
17 where you have a different kind of reaction and
18 objective than the one that the simulator people were
19 using at that time or the symptom-oriented people were
20 using. So, I would really encourage you to get access
21 to that information.

22 MR. APOSTOLAKIS: Coming to this slide,
23 some questions I guess should be addressed to the
24 slides these guys prepared.

25 It says SPAR models under the conventional

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reactors for monitoring. It seems to me you have the
2 reactor oversight process on the left. It seems to me
3 that you can help the NRC inspectors to do their job
4 a little better.

5 It's still a question mark in my mind why
6 there were no reports that I know of from the
7 inspectors that things were happening that were out of
8 the ordinary. The first reaction of course is to
9 still blaming the utility, but it's not clear to me
10 why the frequent change of various filters and so were
11 not noted in some papers and notices.

12 So the SPAR models again -- the PAR out of
13 course and so on -- but it seems it would be useful
14 for this work to also address the issue of NRC
15 inspectors. Is that going to be done?

16 MS. LOIS: We have that as part of the
17 infrastructure, which addresses all of that.

18 MR. APOSTOLAKIS: Oh, okay.

19 MS. LOIS: It's actually embedded in
20 guidance development.

21 MR. APOSTOLAKIS: Okay, because I was a
22 bit misled by the word "SPAR models". Maybe you can
23 put a few more words there. Or, maybe that's what
24 you're doing right now?

25 MS. LOIS: What we have over here is kind

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of an analysis. Although it is not clear cut, these
2 are analysis types of tasks. And, over here is
3 guidance or standards development, which support those
4 tasks as well as methods and tools.

5 Regarding the issue that you said, we plan
6 to develop a guidance for the inspectors of the plan
7 to help them identify human performance issues. That
8 will come out events assessment as well as the
9 experience we have through the PRAs and ATHENA
10 applications.

11 MR. APOSTOLAKIS: Is this only HRA
12 activities?

13 MS. LOIS: This is just HRA activities.
14 Recently, the fitness-for-duty, our role is under
15 revision and we were asked to provide a risk basis if
16 possible. So that's one of the potentials. We
17 haven't engaged anything on that. But these are
18 activities that Nathan is pursuing, and I don't think
19 we have concrete plans on that yet.

20 On waste and materials, we've completed
21 some work for dry cask. We also communicated with
22 NMSS and we frequently respond to questions.

23 On the advanced reactors, the plan
24 includes the upgrade and advance as one element. I'm
25 going to talk a little bit more about what we're going

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to do in this area.

2 MR. APOSTOLAKIS: The upgrade is the new
3 INC?

4 MS. LOIS: The new INC, that's right.

5 MR. APOSTOLAKIS: Okay.

6 MS. LOIS: So then on the conventional
7 side of the reactors, we are completing the PPS work,
8 PRA, HRA. Also we have work on fire, steam generator,
9 tube rupture. We haven't done anything yet, but it's
10 in the plan.

11 MR. APOSTOLAKIS: What do you mean by that,
12 the sequence? What happens in the accident sequence
13 initiated by your tube rupture?

14 MS. LOIS: Yes. And do a more detailed
15 PRA as part of that HRA.

16 MR. POWERS: My comment -- I was excited
17 to see that because when this committee looked at the
18 steam generator tube rupture accident in a fair amount
19 of detail, we found a fully chaotic situation with
20 respect to human reliability in obtaining flows of
21 coolant into the system as the function of the number
22 of tubes ruptured.

23 Surprisingly, they all came up with pretty
24 much the same answer for the probabilities, but you
25 didn't come away with saying, "Yes, that is the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 number." All you came away with was the feeling that
2 human reliability and analysts talk to each other
3 enough that they always come up with the same answer.

4 MS. LOIS: So that's an area that we're
5 going to do work to probably come up with a better
6 answer.

7 Aging cables is something that we're not
8 quite sure if we'll do right now. There is
9 preliminary work going on in that area. If the PRA is
10 going to happen, HRA will be part of it.

11 MR. POWERS: Can you tell me what it
12 means? I mean cable aging and human factors seem just
13 about as orthogonal as -- I mean maybe they're not
14 totally orthogonal. Humans age too.

15 (Laughter.)

16 MS. LOIS: Do you want to answer? Yes, go
17 ahead.

18 MR. SIU: The issue here is that as the
19 cables age their resistance to the environment is
20 reduced. Now what are the cables on containment? A
21 lot of cables are instrumentation cables. So the
22 question is what would be a response of the operators
23 if you have wide scale effects on instrumentation?

24 This is a relatively minor part of a
25 larger activity. So what is showing are a number of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 applications to which HR is providing support. It's
2 not necessarily a big program here.

3 MR. POWERS: So, you're going to look at
4 procedures that the operators have and say if this
5 particular device is producing spurious signals,
6 erroneous signals, will the operator in fact be able
7 to deduce that the device is no longer reliable, and
8 can he then find other sources of information that
9 give him the equivalent?

10 Is this not a topic that the licensees
11 address a great deal of deal?

12 MR. LEITCH: There's a reg guide that
13 describes post-accident instruments that will survive
14 the accident. In most control rooms that I've been
15 associated with, the instruments clearly annotated as
16 to which instruments they are. The operators are
17 trained to use that particular set of instruments in
18 an accident situation.

19 MR. POWERS: Isn't it true that,
20 especially in the emergency operating procedures, that
21 the operators are enjoined to question their
22 instruments and be skeptical of what they're providing
23 at every juncture?

24 MR. LEITCH: Well, I think the general
25 feeling is to believe the instruments. But when

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there's a discrepancy between the instruments, there's
2 a preferred set of instruments that should be used and
3 they're the ones that you should go by.

4 There maybe many indications of a
5 particular parameter, and there's a set of instruments
6 that are survivable through the accident and they're
7 the ones that you're trained to go by.

8 MR. SIEBER: I think in general during
9 emergencies, operators are told to trust your
10 instruments but to crosscheck.

11 MR. POWERS: That's what I mean by
12 skeptical.

13 MR. SIEBER: But the crosscheck is
14 different than just saying this instrument is off
15 scale high, and I don't believe it so I'm not going to
16 do the action. That's not what they're taught.

17 MR. FORD: Could I ask a question?

18 MR. SIU: Sorry, I just wanted to follow
19 up please if I may.

20 Again, I don't want to give the
21 impression that the activities you see here are all
22 development activities. Sometimes we're just being
23 asked to provide support to say what is the risk
24 significance of a particular issue. And the risk
25 significance of course involves the human component as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 well as the hardware component. This particular
2 project would also involve thermohydraulics, INC, and
3 so forth.

4 This is simply indicating, as Scott
5 indicated in the morning, we are doing a number of
6 applications. This is one. Clearly, when we start
7 digging into it, we would be looking at the guidance
8 of the operators. Hopefully, we'll have the chance to
9 talk to the training supervisors and so forth, and see
10 what are indeed the expected reactions of crews under
11 various situations.

12 MR. ROSEN: In Scott's introduction, he
13 talked about the issue with Davis-Besse, and Dr.
14 Apostolakis mentioned it also, and the need to think
15 about safety and that sort of thing.

16 Part of that thinking leads me to a
17 conclusion that we need some sort of early warning
18 system on human performance and enhanced
19 organizational performance. That organizational
20 performance, which is the sum of all of the individual
21 human performances, is degrading. And, I don't see
22 any activities here that would lead me to the
23 conclusion that this research is within the grapple
24 with that.

25 That's just a question that's sitting here

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in front of me. I don't when you'd address that, but
2 I certainly would like you to sometime today.

3 MR. FORD: I have a similar question. On
4 the reliability analyses as I understand it, there is
5 a lot of data for conventional reactors in terms of
6 many years of information so you can come up with a
7 distribution of a response time or whatever. However,
8 we don't have the algorithms to relate that
9 distribution to a factor like the age of the operator
10 or whether he's right handed or left handed or
11 whatever.

12 Given that fact that you've got no
13 prediction capabilities, how do you come up with the
14 reliability analysis for advanced reactors for which
15 there is very little data, operational data? What is
16 the process by which you can come up with that
17 reliability analysis?

18 MS. LOIS: I guess the short question is
19 that we start out like we started out for the
20 conventional reactors. Where we lack experience, we
21 try to come up with -- looking at the other types of
22 activities that potentially simulate the data or the
23 issues of an advanced reactor type.

24 But in actuality, what we're going to talk
25 about after is actually work that was performed for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 advanced reactors. And therefore, human factors work
2 has been done from the perspective of operator
3 performance, all of the operator staffing, etcetera.

4 MR. FORD: So we're going to have a
5 presentation on that very topic?

6 MR. PERSENSKY: There will be a
7 presentation regarding a specific project that was
8 done making certain assumptions about advanced
9 reactors, primarily more the light water, passive
10 reactors, not so much the modular reactors. But it's
11 work that we had done several years ago, and that will
12 be presented later on.

13 The other aspect of that is we look to
14 wherever we can. What other industries might have
15 similar situations? The chemical industry for
16 instance has a lot of the same kind of continuous
17 operations. So, if they have done work that we can
18 find and try to translate that information into --
19 both from the human factors standpoint as well as the
20 human reliability.

21 One of the big issues with advanced
22 reactors of course is the modular reactors where you
23 have one operator for several modules or a few number
24 of operators. And I'll get into that a little bit
25 later on.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. APOSTOLAKIS: It seems to me though
2 there is a philosophical point that needs to be
3 clarified.

4 There are no physical or chemical laws
5 that govern what's happening here, so we can't really
6 apply the same rules that we apply to materials or
7 other physical sciences, natural sciences in terms of
8 confirming a correlation with probability distribution
9 and so on.

10 Rather, what we're trying to do here is
11 produce probability distributions that reflect the
12 communities' state of knowledge as to how likely these
13 things are. These are not predicted models. This
14 distribution has to be consistent with what we know
15 about this thing and related things. And that's what
16 Jay just referred to. There may be other industries
17 where there are similar situations. So, what is their
18 experience? Is it consistent with what we're saying?

19 MR. FORD: So you will assume that 1 in
20 100 operations will be a defective operation, and
21 therefore, what is the impact on the operation
22 advanced reactor?

23 MR. APOSTOLAKIS: Well, yes. But first of
24 all, it's never 1 in 100. It's always a probability
25 distribution. That's why it's not testable. I mean

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it's what we know. But what you're trying to do is
2 make that distribution consistent with the totality
3 our knowledge. So to ask for an experimental
4 verification really is not the right question here.

5 You continually improve or change as your
6 state of knowledge changes. And certainly, Davis-
7 Besse was a major input to that. It has been and they
8 will have to address it.

9 Another thing, for example, in several
10 instances we have seen that the operators have taken
11 actions that were very innovative. They acted in a
12 very clever way. Brown's Ferry was one. We have made
13 a conscious decision I believe not to include such
14 events in our analysis, right?

15 Very rarely you will see that the
16 operators do something that is not in the procedures
17 and saves the situation. I haven't seen any PRA that
18 says that. It's usually something that is dictated
19 already or have been trained on.

20 But anyway, the philosophical issue is
21 that they're trying to reflect not just the whole PRA
22 business. What are the probability distributions that
23 are consistent with what we know about this subject?
24 For example, to put the probability of error as one in
25 nine -- not in nine, nine in ten, is probably

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 inconsistent with what we know about operator training
2 and past incidents and so on. One in hundred, we
3 don't know if it's consistent.

4 MR. WALLIS: Well George, I'm bothered by
5 your saying there's no experimental verification. If
6 there's no experimental verification, what kind of
7 verification can there be?

8 MR. APOSTOLAKIS: The experience.

9 MR. WALLIS: Well, that's experimental.

10 MR. APOSTOLAKIS: But it's not in a
11 traditional sense.

12 MR. FORD: What you're saying is you can
13 never improve on 1 in 10. Then therefore, what's the
14 role of human factors? If the guy is tired then
15 presumably he's going to have a one in five chance of
16 making the wrong decision.

17 MR. APOSTOLAKIS: But they take that into
18 account.

19 MR. FORD: So you can improve?

20 MR. APOSTOLAKIS: Yes, as your knowledge
21 improves. If you look at what we were doing 20 years
22 ago, the THERP that somebody mentioned -- I think Dana
23 did -- the first models relied exclusively on the
24 available time. I mean if you go to the original
25 report by Swain, he says six minutes after the alarm

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the probability of failure to do the right thing is
2 this. Then there was a second generation where people
3 went deeper into the context and what are the factors
4 that may affect performance and so on.

5 I'm sure there'll be a third generation.
6 Maybe they're working already on the third generation.
7 But, this is how you evolve. You start with something
8 very simple. At that time, people thought that the
9 available time was the controlling factor. Now we
10 know that it's an important factor but it's not the
11 only one.

12 MR. BONACA: Well, the development of
13 procedures was exactly one to improve performance
14 because before it was based much more on simply
15 contact information on the part of the operator. But
16 now, it's really prescribed. There's a lot of study
17 that tries to eliminate some of the judgmental portion
18 associated with the response to the machines, and to
19 simply guide the operator through proven or believed
20 successful scenarios.

21 So, there is the component there that has
22 come in. Of course, the training, there are elements
23 that have reinforced or made the likelihood of success
24 --

25 MR. APOSTOLAKIS: Yes, but human

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reliability and human error is a relatively recent
2 discipline. Human factors has been around longer.
3 But human error analysis, I mean there's a very good
4 book published in 1990 I believe by Professor Riesen.
5 There have been other books since then, but we're
6 talking about the last 20 years or so. Rasmussen
7 presented his categorization maybe in the 80s, very
8 recent.

9 MS. LOIS: Unless there is any questions
10 on this slide --

11 MR. APOSTOLAKIS: I think that in light of
12 what happened to Davis-Besse, you need a bullet there,
13 not necessarily using the word "safety culture" unless
14 you have masochistic tendencies.

15 (Laughter.)

16 MR. APOSTOLAKIS: Put something else like
17 -- human errors that lead to initiating events,
18 because most of the HRA work until now has been really
19 human reliability analysis of human actions after the
20 initiating event. If we've learned anything, it's
21 that humans can actually cause an initiating event.

22 Find the right words and put them there,
23 but I think that's a very important thing. It goes
24 back to Mr. Rosen's comment too and I think the rest
25 of the committee feels it. Because I just said, as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 our state of knowledge changes, our models change.
2 And certainly what happened last March or April or
3 whenever it was, was a major change in our state of
4 knowledge, right?

5 MR. BONACA: Could you glump it under
6 latent error?

7 MR. APOSTOLAKIS: I don't want to glump
8 it. I want it to be exclusive with arrows and things.

9 MR. BONACA: It would be a type of --

10 MR. APOSTOLAKIS: No, because latent
11 errors are just plain lying dormant. Here, I'm
12 talking about things actually happening. So the
13 latent errors may be contributors to that, but they're
14 not --

15 MR. WALLIS: Sometime while we're talking
16 about generalities, I'd like to have some idea of how
17 you show that a model works. In all other fields of
18 science I know about, you can concoct all kinds of
19 theories. Eventually, there's a confrontation with
20 reality and you have to say does it work? I don't
21 know what you do to show when your models are working
22 or not working.

23 MR. SIU: I think in the presentation of
24 Bruce Hallbert gives later today, you'll see a partial
25 answer to that. There's still some gaps that need to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be filled.

2 MS. LOIS: Mark Cunningham, why don't you
3 go ahead.

4 MR. CUNNINGHAM: To go back to the point
5 from Professor Apostolakis that Scott alluded to early
6 on in the presentation, where the issue of what's
7 occurred, Davis-Besse and that type of thing, have
8 raised issues about whether or not we should be
9 including in this planning effort issues such as
10 safety culture or some variant of that.

11 As the committee knows, we're under some
12 constraints on our ability to do that. But like Scott
13 said, we're reassessing whether or not we should go
14 back to the Commission raise the issue again with the
15 Commission about the importance of this and the need
16 to do research on this.

17 MR. APOSTOLAKIS: But the initiation of
18 imitating events though, you're not constrained.

19 MR. CUNNINGHAM: That's true.

20 MR. APOSTOLAKIS: But I think you're
21 right. You really have to go back to the Commission.

22 MR. POWERS: If I could come up to the PTS
23 item up there. You're providing input there that's
24 been mentioned several times.

25 When the program team involved in PTS has

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 spoken in front of the committee, they have emphasized
2 the statistical rigor with which they will be doing
3 their various phenomenal logical studies. Is there an
4 equal constraint on you for rigor in the human
5 reliability inputs that you provide to that PTS
6 program, and if there is, how do you carry it out?

7 MR. SIU: As Professor Apostolakis
8 indicated, what we're doing in PTS of course is
9 developing the distributions for the human failure
10 event probabilities. And that's essentially expert
11 elicitation process. Then we propagate those
12 distributions to the rest of the model just as you
13 would as a matter of course.

14 Lacking the phenomenal logical mechanistic
15 models and lacking experimental evidence for these
16 particular scenarios and the general model to take
17 experimental evidence and bring it in to this
18 particular arena, that's where we are.

19 I think when Erasmia gets to her data
20 slide, we'll talk a little bit about what we're trying
21 to do to move towards a stronger technical basis for
22 these things. I think personally, it will take time
23 to get there, but there's certainly a desire to start
24 doing that to make better use of experimental
25 facilities.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The modeling efforts are frankly going on
2 in other parts of the human factors community
3 regarding performance of people under challenging
4 situations.

5 MR. POWERS: I have no objection to expert
6 elicitation process, especially in a field where I
7 think Professor Apostolakis said quite correctly the
8 distribution there that you're attempting to put down
9 is not a measure of reality. It's a measure of this
10 objective belief of a cross-section in the community.

11 So I'm wondering how do you go about
12 getting -- I mean what community do you probe? Are
13 you probing the regulatory community, the contract
14 community, or the licensee community? Maybe the
15 answer is "yes".

16 MR. SIU: Yes, but in PTS, as I'm sure the
17 committee has been briefed, we paid special attention
18 in talking with the trainers of the crews and with
19 SROs so that there were people who had experience with
20 these crews under situations that were relevant to
21 PTS. We think we got the right folks providing input
22 into this elicitation process.

23 MR. POWERS: Yes, but if I were a trainer
24 of people, I would have a tendency to think my
25 training is tremendous and wonderfully effective as to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 my abilities to persuade people do to the right thing
2 would be relatively high.

3 In fact, one of the characteristics that
4 we found is that any time we elicit experts, they have
5 a great deal or more confidence in their knowledge
6 than probably is warranted.

7 MR. SIU: Yes. And what we tried to do,
8 again not knowing what the underlying truth is, what
9 we tried to do is make the people involved aware of
10 this biases upfront. We tried to probe to again see
11 what are the conditions that would lead you to a
12 different performance level, how likely do you think
13 those conditions might arise, bring in examples of how
14 things have that happened in other situations and can
15 that arise in this situation.

16 I think the belief of the team -- and
17 John, you can add anything if you want -- John
18 Forester of the PTS team. I think the belief was that
19 we got some good input from them. They started
20 thinking about these different situations. It still
21 might be biased, but I think we've tried to address it
22 was best we could.

23 John, do you want to add anything to that?

24 MR. FORESTER: I'm John Forester of Sandia
25 National Labs. As Nathan said, I am on the PTS team

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and participated in the HRA.

2 In terms of the team that we tried to
3 elicit to help us with the quantification process,
4 particularly in the case of one of the plants at
5 Palisades, we had not just trainers. We had people
6 from operations. We had someone that went procedures,
7 procedure development. We also had members of the HRA
8 team: myself, Dennis Bley, and Alan Kozlowski.

9 All of us participated in the
10 quantification process. You had a wide range of
11 people. The idea is everybody brings information to
12 the table, ideas that they have and their knowledge
13 about how the scenario will evolve, what information
14 will be relevant, what kind of things that might
15 happen that could lead to confusion for the operators
16 in actually performing the task.

17 So, the emphasis is on obtaining as wide
18 a range of information as we can in performing the
19 expert elicitation process.

20 In terms of biases, we try to control for
21 biases. We try to use a facilitator, someone that
22 leads the discussion to where there are possible
23 biases and tries to correct for those and make people
24 aware of the potential for them.

25 MS. LOIS: And that includes the simulator

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 observations?

2 MR. FORESTER: Correct, we did do
3 simulator observations. We watched the crews in
4 related scenarios to see how they would perform.

5 MR. APOSTOLAKIS: I think facilitators are
6 funny people frankly if you ask me.

7 (Laughter.)

8 MR. WALLIS: . . . if you think about
9 Davis-Besse. If you asked Graham Leitch or people
10 with experience with reactors to think about it before
11 it had happened, could this sort of thing happen in
12 the plant? They'd probably say they couldn't believe
13 it would happen like that. It never happened in my
14 plant.

15 So you're asking all these experts, and
16 they would say the probability, this is
17 extraordinarily small. Some kinds of conditions are
18 there in that plant which made it happen.

19 MR. APOSTOLAKIS: That's one of the biases
20 that John mentioned.

21 MR. WALLIS: So how do you do that?

22 MR. APOSTOLAKIS: There is nothing you can
23 do. I mean you try. If the whole expert community is
24 wrong, I really don't know what it is that you can do.

25 (Laughter.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. POWERS: I get the impression that, I
2 mean the sense, the note I've taken here is you do the
3 best you can.

4 I will comment that in my own experience
5 in doing these elicitations, particularly of operators
6 of plants, not power plants but in fact research
7 reactors, is that their answer to a particular
8 question: could this ever have happened, is "not in my
9 plant."

10 But look at these guys over in Idaho.
11 Those guys can have this problem but not me. Those
12 guys can. Of course, Idaho gives you exactly the same
13 answers.

14 That in itself is a surprisingly common
15 comment. In fact, I can't think in any of these
16 issues where we were polling operators at energy and
17 defense programs plants where we didn't get that
18 response. "It won't happen here because we're very
19 careful." But those guys, go talk to them. Go look
20 at what they've got.

21 MR. APOSTOLAKIS: The truth of the matter
22 is that before the three mile island accident, putting
23 these operator errors in the PRA was a struggle.

24 MR. POWERS: Oh, yes.

25 MR. APOSTOLAKIS: Because the sponsor, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 utility sponsor would tell you, "That can't happen in
2 my plant." I mean that was a standard response.
3 Things changed after three mile island.

4 But coming back to what this represents,
5 I think it's important to make it clear -- you
6 mentioned the expert community. Of course, expert
7 community can mean a lot of things. But I think
8 eventually your distributions here will reflect the
9 state of knowledge of the experts in the human
10 reliability area, at least in the United States but
11 also broad because you participate in -- in fact, next
12 week there's a major meeting that I understand you
13 guys are going in full force. So, this is really what
14 this is intended to represent, not just the views of
15 Dr. Lois and Persensky and Dr. Siu.

16 Now there is always a reaction like you
17 didn't use my model so this can't be any good. But at
18 least they're not going to say, "Boy, your
19 distribution is way off." It could be up by a factor
20 of ten or something.

21 This is the same thing we're trying to do
22 in the seismic area and in all cases where there are
23 very rare events. You're really trying to capture the
24 state of knowledge of the community, the entire
25 community.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ROSEN: I would like to comment on
2 some of the views expressed here that the Davis-Besse
3 situation would not have been predicted by those of us
4 who have some knowledge of plant operations. I think
5 that's incorrect.

6 I think with the data that's available or
7 that will become available, had that data been put in
8 front of Graham Leitch, Mario Bonaca, or maybe myself
9 -- and I'm talking about things like the corrective
10 action system performance and some other information
11 perhaps out of the safety conscious work environment
12 area. If that data had been visible or was visible to
13 persons or a person who had a lot of experience, he
14 could have predicted that the plant would have
15 trouble, serious problems in the future -- not that
16 the head would crack and the different things that we
17 now know happened that would happen.

18 The culture was degrading, and serious and
19 significant issues would rise at this plant in due
20 time.

21 MR. APOSTOLAKIS: But still, I think one
22 of the points that others have made -- and I agree
23 with you on this. But suppose now you are a member of
24 the group of experts that are helping Sandia and Idaho
25 before Davis-Besse, and some crazy guy says, "You

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 know, there may be a situation in the future where
2 they will have multiple warnings of things that are
3 going wrong and they will ignore them." Their
4 corrective action program will not include hazard
5 analysis and this and that.

6 Would that be a reasonable thing for
7 somebody to say or would it be shut down by people who
8 would say, "Our plants are not run that way."

9 MR. POWERS: I guarantee it would be
10 formidable --

11 MR. APOSTOLAKIS: That's the risk that you
12 will not think of unusual and very rare conditions.
13 Given the conditions, I think it's pretty
14 straightforward. So that's what I think John Forester
15 was referring to. Experts can be wrong.

16 MR. ROSEN: There's no question that the
17 scenario outlined led to a conclusion by someone that
18 this plant was heading for trouble and that the plant
19 managers and the rest would say, "No, that's not true.
20 You're wrong." There's no question in my mind that
21 that conclusion would be thought. But, that doesn't
22 make the conclusion
23 wrong. The very people who are fighting are the ones
24 who are creating the problem.

25 MR. POWERS: That's right. Erasmia, as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Professor Apostolakis would say, "You're going so
2 slowly."

3 (Laughter.)

4 MS. LOIS: So, I guess I want to --

5 MR. APOSTOLAKIS: I think you should say,
6 "Next slide, please."

7 (Laughter.)

8 MS. LOIS: Next slide, please. Thank you.

9 This is an outline, a very broad outline
10 of what we plan to do for advanced reactors and
11 upgraded reactors. The objective is to determine if
12 any improvements are needed to incorporate the
13 influence in human performance in the PRAs for
14 upgraded or advanced reactors.

15 The issues are the ones from the
16 committee: reduced staff, changing the role of the
17 operator, new control room design, multiple modules,
18 and long-term recovery available for the accidents.
19 What we are hopefully going to get out of it is what
20 issues should we address, develop methods and tools to
21 address those issues --

22 MR. POWERS: Can you articulate what you
23 mean by "develop methods and tools" with any
24 specificity at this point?

25 MS. LOIS: Probably not. If you look at,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for example, reduced staff, the HRA now has some
2 underlying hypothesis as to how many operators are
3 there, etcetera. So, we're going to look at the new
4 proposed designs and their proposed staff in
5 combination with potential accident scenarios and see
6 how that plays out and changes the underlying
7 hypothesis or even modeling in the HRA.

8 Do you want to add something to it?

9 MR. PERSENSKY: Yes, I'd like to add
10 something. I think this is an opportunity where we're
11 going to have a close cooperation. I've just
12 initiated some work.

13 Nathan mentioned earlier that there are
14 some techniques out there for behavioral modeling, how
15 to model people's behavior, that have been applied in
16 many military settings, particularly the Navy and the
17 downsizing of their ships, especially the DV-21.

18 We're trying to see if we can adopt those
19 models for use in the nuclear industry, particularly
20 for this kind of thing where we really don't know yet,
21 but we know that there's going to be some changes in
22 the role. It's a function and task analysis based
23 approach. That's the kind of model where we can feed
24 in on this issue of reduced staff into the HRA model.

25 MR. POWERS: I guess I'm familiar

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 particularly with some of the Navy work because they
2 have this problem too. You know, how many people have
3 been put on a bridge, especially when you've got a
4 highly instrumented and highly digitized bridge.
5 People are expensive so you want to minimize those and
6 still have proper coverage and things like. I mean
7 they worry about these sorts of things.

8 But there's another approach that has
9 intrigued me. I don't know whether the NRC gets
10 involved in this. I know that MIT is involved in
11 this. And that is these fairly fundamental -- I think
12 you call them flatland kind of models, where they're
13 trying to look at how social beings interact in a
14 simulation sense.

15 Cooperative and competitive things have
16 been most of the focus, but I've often wondered if
17 those techniques don't have a place to play in these
18 staffing issues. I just wondered if you have any
19 contact with that or -- I mean it's highly simplified
20 sort of thing. It probably is better for predicting
21 how amebas work together right now. But it certainly
22 yields some insights, certainly in the area of
23 competitive and cooperative behavior.

24 MR. PERSENSKY: We're looking, and we're
25 trying to keep abreast of that literature at this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 point. I know that there's a lot of work being done
2 by DARPA and the Navy and the military in terms of how
3 people interact. It's a lot of team interactions,
4 joint decision-making. In fact, some of that's going
5 to be presented at the conference that George had
6 mentioned next week. So, it's work that DARPA is
7 doing.

8 MR. POWERS: Yes. That's good.

9 MR. FORD: Could I ask a question on this?
10 Given that some of the advanced reactor designs are
11 somewhat conceptual right now, you don't know
12 quantitatively the answers to the "what if" questions.
13 Such as, if there's an accident scenario, you don't
14 know what the operator reaction times would have to be
15 in order to mitigate a series of actions.

16 How is your timing for this particular
17 project, developing the methods and tools? What is
18 the timing since you don't know what the target is?

19 MS. LOIS: I guess we're going to start
20 out with existing designs that are better. For
21 example, AP 600 and AP 1000, these are similar
22 reactors in the sense that they do have the slow
23 evolution of events, long recovery times.

24 Then based on probably simulator data as
25 we discussed before -- PRA usually starts at a very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 high level and then as you gain knowledge, you go
2 along and you improve your details.

3 MR. APOSTOLAKIS: I don't think they're
4 going to produce distributions for advanced reactors.
5 I think they're getting ready to address the issue
6 later. For example, as Erasmia just said, now you're
7 going to have to deal with very long operator response
8 times, not just a few minutes.

9 So, you have to think about it. Are there
10 existing models capable of doing this? Are there any
11 additional factors I should include in the model,
12 without necessarily saying for this particular
13 advanced reactor, the fast reactor, this is the time
14 and this is what I have to do.

15 MR. FORD: I guess my question is coming
16 more as a research manager. You're asking -- I've got
17 these conceptual designs coming along. I'll assume a
18 worst case scenario that I'm going to have real slow
19 operators and very few of them. As a research
20 manager, how much money am I going to invest in
21 developing what method, what tool to do what, to be
22 improved on what?

23 MR. APOSTOLAKIS: I would phrase it a
24 little differently. I have these new designs. Do
25 they create any new context that I have not analyzed?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Then, the additional. Do they have any new dimensions
2 to the problem that the existing models don't have?

3 MR. FORD: Well, you've mentioned AP 600
4 and AP 1000.

5 MR. APOSTOLAKIS: Well, AP 600 is really
6 evolutionary.

7 MR. FORD: So what in the current tool box
8 do you have for HRA that needs to be improved?

9 MR. APOSTOLAKIS: Yes.

10 MR. FORD: No, that's a question.

11 MR. APOSTOLAKIS: Oh, that's a question?

12 MR. FORD: Yes.

13 MR. APOSTOLAKIS: One of the things as I
14 mentioned is nearly complete automation. I mean I
15 don't know if it's there but --

16 MS. LOIS: The changing of the role of the
17 operators.

18 MR. APOSTOLAKIS: Yes, the changing of the
19 role of the operators.

20 MS. LOIS: So you might have just one guy
21 watching over 10 models, one of two guys. That aspect
22 of it --

23 MR. ROSEN: Erasmia, I have a problem with
24 that. I think there is an irreducible minimum below
25 which one cannot go in running nuclear power plants.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 That is because it is not just that the operators sit
2 there waiting to do something in the event of an
3 accident. They're involved continuously in such
4 activities as work control and authorization and
5 wondering what's going on in the plant. People are
6 out there doing things and there is a tremendous
7 amount of communication coming up from the plant.

8 Also, in many plants they form the fire
9 brigade around the clock. While we're sleeping or
10 watching a ballgame, they are there in case there's a
11 fire. They're the first responders.

12 So I think there's an irreducible number
13 of operators no matter how much automation you --

14 MS. LOIS: Oh, I'm sorry for mentioning
15 it.

16 MR. ROSEN: Maybe this is just a general
17 comment because I don't believe these numbers.

18 MR. APOSTOLAKIS: I think the automation
19 affects more the information that reaches the
20 operators. I don't think the major issue is the
21 number of -- because we don't really understand, as
22 far as I know, the complete spectrum of failure modes
23 of digitalizing.

24 MR. FORD: Doesn't the design for passive
25 plant response -- like we see a lot of people

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 advocating -- put you in the position that you've
2 really got to confront the error of omission issue?

3 MR. POWERS: Yes. It seems to me that I
4 would just highlight that. I've waited as long as I
5 can. Now I've got to go attack the error of omission
6 issue. It's been out there at least through last
7 year's report.

8 MR. WALLIS: Let me bring you back to
9 something that we've been already which is approving
10 upgrades to power. There have been PRAs submitted,
11 and we have had some things to say about those PRAs.
12 What they have really come down to is simply saying
13 the operators have more or less time to do certain
14 things. Someone has made some estimates in those
15 PRAs.

16 Do you folks think that those approaches
17 were good? Were they adequate? How should we take
18 those assessments which have already been submitted?
19 What should we do to do it better? I think we'd like
20 advice from you about that. This is going on. It's
21 happened already and it's going to happen next month
22 and so on.

23 MS. LOIS: The HRA plan suffers from
24 initiating work and --

25 MR. WALLIS: You can't help us with any of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those things?

2 MS. LOIS: Eventually.

3 MR. APOSTOLAKIS: The real question is how
4 do you change the probability distributions when the
5 available time changes.

6 MR. WALLIS: I'm nervous about that. I'm
7 listening to the conversations and my colleagues are
8 telling me they've got other things to do.

9 In my experience -- nothing to do with
10 reactors but in a kitchen or something like that --
11 the more time I have, the more likely I am to make a
12 mistake because something else intervenes. I've got
13 to do this or that. I know I've got to do this and I
14 know I've got to do it in a minute, so I do it. If
15 I've got five minutes, I say I've got five minutes and
16 then something else happens, and it distracts me from
17 this thing I've got to do in five minutes. I don't
18 have time when other things are going on. But this is
19 just interjection --

20 MR. APOSTOLAKIS: I think that's a good
21 point. The sensitivity -- if you really want to look
22 at those reactions like Dr. Wallis just said, this is
23 happening now. We are approving power upgrade. And,
24 the sensitivity of the human error probabilities to
25 the available time is something that is of extreme

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 interest. Maybe you can make them, but by the time
2 you're done though, probably all the reactors will be
3 operators.

4 MR. WALLIS: Well, at least you can look
5 at it and give us some advice, right?

6 MR. APOSTOLAKIS: Yes.

7 MR. WALLIS: You're the experts we can
8 turn to.

9 MR. FLACA: This is John Flaca. That's a
10 good point. We have a synergism as to the activity
11 that's going on. It's looking at all the changes that
12 are going on in the outside world. One of these of
13 course is power upgrade. In that context, I think
14 that is an important issue to look at. And, I think
15 we'll take that back with us.

16 MR. LOIS: Next slide please.

17 MR. WALLIS: Well besides looking at it,
18 could you at least give us definite advice when you
19 look at what's happening with power upgrades and when
20 you look at the PRAs? Would somebody who knows in the
21 agency make a decision about whether what they're
22 doing is reasonable or not?

23 MR. APOSTOLAKIS: Nathan, you mentioned
24 that -- was it Nathan or was it Scott? I don't
25 remember -- that EPRI is involved in some of your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 work. Have you guys had a chance to look at their
2 human reliability models? Do you use them?

3 MR. SIU: We haven't formally reviewed
4 them. We had some interactions with them. I think
5 you participated in that workshop we had here back in,
6 last year I think it was, where they made a
7 presentation on it. We know they've made progress
8 since then. But, we haven't, "no."

9 MR. ROSEN: One thing, as long as you've
10 brought it up, EPRI as the leading indicator program.
11 Are you aware of what they're doing there? This, to
12 me, is a very exciting new
13 approach. It may in fact lead to some visibility of
14 the degradation in the future of plant operations
15 because it gives you some insight into the safety
16 culture.

17 It's basically a program that uses
18 observational techniques to look at performance in the
19 field, and each of the observers rates the operation
20 as to whether it was good or not so good, whatever.
21 The compilation of all this data ultimately can lead
22 to some insight into whether the performance is
23 improving, staying the same, or getting worse.

24 I have spoken to EPRI who are involved in
25 that, and I know some utility people too, who would be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 willing -- and by the way, I've mentioned this to the
2 Chairman of the subcommittee that these people would
3 be willing to brief the ACRS at some point if we're
4 interested.

5 MR. PERSENSKY: I'll add to that. I'll
6 jump in here. I do work with the EPRI in the
7 Performance Technology Subcommittee, and I've talked
8 with them about the possibility of them coming in and
9 taking with this subcommittee, not the whole ACRS,
10 about the work they are doing in this area. They are
11 willing to come. They do have a broad range of topics
12 that you might be interested in.

13 MR. ROSEN: And in particular, to answer
14 Dr. Apostolakis' question about their modeling, not
15 just the leading indicator database and what's being
16 done in the industry with that, but also the model of
17 human performance and how it's used, I think I think
18 there's one member of this subcommittee that would be
19 interested now.

20 MS. LOIS: Next slide please.

21 MR. APOSTOLAKIS: Good idea.

22 (Laughter.)

23 MS. LOIS: Finally we get to the data
24 collection and analysis. The objectives of that
25 project is to determine the data needs for HRA,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 collect and analyze --

2 MR. WALLIS: I thought that George told us
3 we couldn't do experiments. What is data?

4 MS. LOIS: It's existing information.
5 That could be inspection reports, event reports --

6 MR. WALLIS: Is it word by mouth type of
7 information or is it --

8 MS. LOIS: Documented information.

9 MR. PERSENSKY: Some of it might be
10 simulator data that you might consider to be part of
11 an experiment.

12 MR. ROSEN: I think, exactly. I think the
13 idea that we don't have any human performance data is
14 just wrong. Whether it's exactly applicable to the
15 actual circumstances of a reactor one can argue, but
16 we have lots of simulated data on whether operators
17 take the prescribed actions within the symptom-
18 oriented emergency operating procedures. And, that is
19 valuable data.

20 MR. WALLIS: We have reams and reams of
21 data.

22 MS. LOIS: Yes, that's one resource of
23 data.

24 MR. WALLIS: Now I understand you're going
25 to tell us more about how you're using that later, as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I understand?

2 MS. LOIS: Yes, yes. And therefore, the
3 intent here is to really utilize and capitalize on as
4 much as possible on existing information.

5 The work is to be performed to Idaho.
6 It's co-funded by both programs, human factors and
7 HRA. It currently focuses on the quantification
8 aspects of it, ATHENA applications, which is by
9 Sandia. Interfaces with international committees,
10 CSNI has an effort on data collection and analysis.
11 And also, the work supports Halden. It works with the
12 Halden project.

13 MR. WALLIS: Go back to the number two
14 bullet: collect and analyze data to support HRA model
15 development and quantification. Is there some idea of
16 the state of the art? I mean models have been
17 developed, and I'm told there is a lot of data. Why
18 aren't the present models good enough?

19 I have no idea from your discussion as to
20 what sort of the state of the art of this field is in
21 terms of what the models are. Questions that were
22 asked at the beginning, how good are these numbers?
23 I still don't have a good feel for that.

24 MR. SIU: Yes, and I think that goes back
25 to, I think, Steve Rosen's point. We have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 information. The question is: Is that information
2 applicable for the specific human failure events that
3 we're looking at.

4 We looking at, which we all acknowledge,
5 fairly rare conditions, very challenging. Generally,
6 risk significance sequences. You failed a number of
7 pieces of equipment and how do the operators respond
8 to those particular conditions.

9 So, there is a question of applicability.
10 There are also questions of if I vary certain factors,
11 if I make changes to some of the things that maybe
12 we'll get in to. Jay has an activity on fatigue. How
13 do potential change and how we deal with fatigue in a
14 regulatory space affect the risk profile? So you need
15 models to be able to say what's that affect, and we
16 don't have those at this point.

17 So, it's looking at not only the baseline
18 numbers but the affects of those changes.

19 MR. WALLIS: You're saying all the things
20 we don't have. Maybe it would help, and maybe it's
21 been done before and I just missed it somewhere -- you
22 actually had some demonstration that some model is
23 useful and that some model represents some data.

24 MR. APOSTOLAKIS: I think in answer of
25 your question Graham, about why aren't the current

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 models good enough, first of all you have to
2 appreciate that very, very few organizations in the
3 world can afford by the NRC is doing here. They don't
4 have national laboratory support and a lot of experts
5 coming in.

6 What you see are models in the literature
7 that tend to emphasis certain things that others don't
8 emphasize. For example, some models from Europe tend
9 to rely a lot on the centerpieces, the decision-making
10 process in the minds of the operator. Then they ask
11 themselves how is this affected by this and that.

12 Other models we've mentioned already tend
13 to give a lot of emphasis to the available time for
14 action. Other models do something else. You have
15 models from Norway, from Sweden, from everywhere.
16 But nobody has really spent the time and resources
17 like these guys are doing to try to bring everything
18 together.

19 MR. WALLIS: Models are fantasies until
20 you can compare them with data.

21 MR. APOSTOLAKIS: That's right.

22 MR. WALLIS: It must have been done
23 otherwise --

24 MR. FORD: As I understand it, we're going
25 to see that this afternoon. We're going to see curves

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and data.

2 MR. SIU: This morning.

3 (Laughter.)

4 MR. FORD: So, your question may be
5 answered.

6 MR. APOSTOLAKIS: But the basic approach
7 of a physical scientist doesn't apply here.

8 MR. WALLIS: Yes, but something does.

9 MR. APOSTOLAKIS: You're dealing with a
10 --

11 MR. FORD: But if you remember in the
12 steam generator program, you saw distribution curves
13 of a probability of detection.

14 MR. APOSTOLAKIS: Yes.

15 MR. FORD: And we had different curves for
16 different teams, the good team and the bad team.

17 MR. APOSTOLAKIS: Right.

18 MR. FORD: Now, there's got to be a reason
19 as to why the good team is good. Because of
20 experiments or something like this.

21 MR. APOSTOLAKIS: But they make those
22 distinctions too.

23 MR. FORD: Well, I think that's what
24 Graham are struggling with. Let's see some data to
25 back up these good and bad models.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. LOIS: The approach is to characterize
2 information that is needed for HRA methods. We hope,
3 as Dr. Apostolakis was mentioning before, we'll look
4 at each one of the HRA methods available right now and
5 identify what are the underlying hypothesis for the
6 method to what types of data are needed.

7 And we're going to do that in a couple of
8 steps that I have here. First, identify the concepts
9 and terms used in the methods then identify the
10 commonalities in the concepts. That will allow us to
11 look at the data sources and mind them in a more
12 systematic way as opposed to this particular method or
13 that particular method.

14 Then we'll identify and evaluate data
15 sources. And, we've done some of that work already.
16 Then develop methods to use the data. Eventually,
17 develop a method for estimating human error
18 probability on the basis of the work done on the data
19 collection.

20 Next slide please.

21 MR. POWERS: I guess one of the crucial
22 questions that we really need to understand, there are
23 a plethora of acronym methods for doing human
24 reliability analysis, and that slide seems to say, I'm
25 going to develop yet another one of those methods.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The question that we really have to
2 understand is what is it that -- what need are you
3 satisfying that these other things don't satisfy, and
4 how accurately do you have to satisfy those needs?

5 MS. LOIS: That is part of guidance
6 development that I had on slide before. We're going
7 to address and examine each one of the available
8 methods right now and provide guidance as to what are
9 the characteristics of the method, what applications
10 are appropriate, to what extent, what is the level,
11 and potentially examine different applications,
12 regular applications, and determine what is the level
13 of detail or analysis needed, and therefore indicate
14 what methods would satisfy that analysis.

15 MR. APOSTOLAKIS: Will you tell us at some
16 point why CREAM, which is one of the models, is not
17 good enough for the NRC? It has already been
18 developed. Why the MARMUS model is not good enough
19 for the NRC? I think that was the question.

20 Those guys have invested a lot of money.
21 They have developed a model, and here we are
22 developing another one. Why don't we just take the --

23 MR. SIU: If I can, I don't the point of
24 Erasmia's slide is to say we're developing another
25 method. What we're trying to say, and maybe we're not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 doing a very good job, is that there are a lot of
2 sources of information out there. There are lots of
3 sources of data. Sometimes these data are compiled by
4 folks with a particular method in mind. So of course,
5 they categorize information in a way, and collect it
6 for that matter, the information to satisfy the needs
7 of that model.

8 We need to be able to work with these
9 folks to take the information they've got and make it
10 useful in the activities that we've got going on. It
11 may be along that along the way we find out that
12 indeed there are some aspects of CREAM that we really
13 do need to adopt in our approach or maybe it's in the
14 MARMUS. I don't know that we've really thought along
15 those lines yet. But, this is really an attempt to
16 identify potentially useful sources of data and start
17 making them available.

18 The notion of coming up with common
19 technology is just a way that will help us communicate
20 across all the various groups. I think there's a
21 general recognition in the HRA, in this research
22 community, that there is this plethora of methods and
23 that we really do need to be working more closely
24 together. And as part of this meeting coming up next
25 week, we are going to be engaging with folks at CSNI

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to do work along these lines.

2 So again, we're not trying to say that
3 we're going to create another method. The other thing
4 I'd like to say is that there are a lot of
5 commonalities. We talk about this long list of
6 methods, but they have quite a bit of similarity.

7 MR. APOSTOLAKIS: I understand that the
8 quantification effort is near completion. You did
9 that using some sort of a model?

10 MR. LOIS: Some sort of what?

11 MR. APOSTOLAKIS: A model? Because Nathan
12 just said you haven't yet looked at the other models
13 and see what else they have that you may want to use.
14 So, how does that --

15 MR. SIU: The quantification is really
16 referring to bringing ATHENA to closure.

17 MR. APOSTOLAKIS: So it's not a model?

18 MR. SIU: No, it's an elicitation process.
19 This is what was used in PTS.

20 MR. APOSTOLAKIS: I see.

21 MR. SIU: And that's where we are right
22 now.

23 MR. APOSTOLAKIS: Okay. But I really want
24 to emphasize that you really should do this. I mean
25 before you embark on many developments, you should

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have a good evaluation of existing models with their
2 advantages and disadvantages, merits and demerits. If
3 the French have got something that is useful, you just
4 go ahead and use it. If the Norwegians do it, fine.

5 This has been one major problem with this
6 community. Every guy develops his own model, ignoring
7 everybody else. This cannot go on.

8 MS. LOIS: But let me ask you something.
9 Would you adopt a methodology that has been produced
10 somewhere without having the capability to view it by
11 actually seeing it, seeing the actual data that's
12 created?

13 MR. APOSTOLAKIS: I said evaluate.
14 Evaluate is all done. But, don't ignore it. Don't
15 have an introduction that says oh, by the way, the
16 following references also deal with this subject, 1
17 through 35. No. You say, CREAM has these good
18 qualities and we're going to use them.

19 MR. SIU: We completely agree.

20 MR. APOSTOLAKIS: Very good.

21 MR. POWERS: When can we anticipate that
22 we'll have this listing of 1 through 35, and here are
23 the good features and here are the bad features?

24 MR. APOSTOLAKIS: At some point, we
25 should.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SIU: Yes. Again, we've been dancing
2 all around Erasmia's presentation, but for every
3 program or project that she has on that chart where we
4 are talking about development needs -- and obviously
5 we have to do that -- the applications, we're using
6 the applications we've got in hand.

7 MR. APOSTOLAKIS: By the way, when I said
8 this community, I was talking to a friend of mine who
9 is in reactor physics and he told me there is nothing
10 surprising about having some models. In the early
11 days, when the guys were working in electronics, every
12 organization in the country had its own transient code
13 and this and that. Finally, things converged to
14 something that's widely acceptable.

15 So even in the natural sciences, they
16 things can happen. But, it's time to bring everything
17 to closure.

18 MR. SIU: And again, I think we are
19 actually trying to drive towards that closure.

20 MR. APOSTOLAKIS: Good.

21 MS. LOIS: This is the last slide. Then
22 I conclude by presentation by mentioning again that
23 the data generated for the advanced reactor staffing
24 study will be discussed in some detail today. The
25 objective of that discussion is to show collaboration

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of the two programs and how we can use existing
2 information or create new information through
3 simulator experiments.

4 MR. WALLIS: So what would your output?
5 Is it going to replace this expert elicitation
6 approach or what? What's going to be the results of
7 this?

8 MR. SIU: I think in a long-term vision,
9 that would really be nice. Whether we can get there,
10 we'll have to see.

11 As we go through the presentation, as I
12 said, you'll see some nice work that leads up to a
13 point. But that point isn't necessarily the input to
14 the HRA. There's a gap there, and we need to be able
15 to address that gap. So, there's some technical work
16 that needs to be done.

17 I think that we would certainly like to
18 drive towards a more data based or at least data
19 informed analysis. That's the vision of what we're
20 trying to put forth. That's why we've put the data
21 task as one of our top tasks in the program.

22 MR. APOSTOLAKIS: Have you found your
23 collaboration with CSNI useful?

24 (laughter.)

25 MR. APOSTOLAKIS: I mean for a few years

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 now, I see that -- and I'll give you an example when
2 I'm saying this. The NRC doesn't have it's own
3 program and organizational factors, but we are in
4 consistent conflict with our colleagues in Europe
5 through CSNI.

6 Finally, I saw a paper from one of the
7 countries. And, if you guys ever dare come here with
8 a ridiculous piece of nonsense like that, this
9 committee will probably not be kind to you.

10 MR. POWERS: It is my usual practice at
11 this point to ask if there are any additional
12 questions of this speaker. I think I know the answer
13 to that, so I propose that we take a break until
14 twenty of and then proceed with the rest of the
15 presentations.

16 We can come back because I think there's
17 a thought provoking presentation, certainly succinct
18 in its visual aids that provoke a lot of questions.

19 (Whereupon, the committee recessed for a
20 break from 10:22 a.m - 10:32 a.m.).

21 MR. POWERS: We'll begin by indulging the
22 Chairman, who was reminded of a question by one of the
23 audience that he failed to bring up. We had on the
24 previous presentation quite a list of applications of
25 HRA that are going on within the agency. John Flaca

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 mentioned synergisms with some elaboration.

2 There is another area that is under active
3 consideration by the agency and that is changing the
4 categorization of equipment through the plant,
5 retaining the functional requirements but not
6 necessarily the elaborate QA and QC requirements that
7 are placed on that equipment.

8 That equipment of course gets used by
9 operators, and there must be some impact if not in the
10 actual liability of the equipment, in the operators'
11 perception of the reliability of that equipment. That
12 should, in some sense, affect the human performance
13 error rate associated with that equipment.

14 I didn't see any reference to application
15 of HRA to those questions. I wondered if that was
16 just because I didn't understand what synergism meant
17 in its entirety or it's an omission or what the
18 situation is.

19 MR. SIU: I think what we were trying to
20 do with the guidance and standards bullet way at the
21 bottom of Erasmia's chart, we need to provide
22 information tools to users, let's say reviewers of
23 applications to allow them to take advantage of HRA
24 lessons without necessarily having to do an HRA.

25 We don't have an element that talks

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 specifically to let's say changes in reliability of
2 equipment and how that might affect operator
3 performance other than if we were doing a study in
4 terms of context. But I don't know that we would be
5 especially well tuned to get to that. So I guess
6 that's one place where you could say we don't have
7 something specific.

8 MR. POWERS: It seems to me that the ACRS,
9 in its deliberations in connection with Option 2, has
10 at various times made suggestions about the
11 information communicated to the expert panels that
12 should occupy the expert panels for the during of
13 their period of employment.

14 Is this another area where the expert
15 panel needs to be informed?

16 (No response.)

17 MR. POWERS: Well, fair enough. The
18 question posed and maybe not answered.

19 Let's move on with the presentation. I
20 guess Mr. Hallbert, are you -- no, I'm sorry. Jay,
21 you're next on the list.

22 MR. PERSENSKY: Yes, I'm next on the list.
23 I'm going to jump in between Erasmia and Bruce even
24 though --

25 MR. POWERS: Not to diminish the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 importance of your presentation.

2 MR. PERSENSKY: Just to bring in this
3 human factors element, I'll try to be as brief as
4 possible.

5 MR. POWERS: Let me say that I did find
6 the slide that showed the coupling between HRA and
7 human factors to be illuminating useful, a point that
8 bears repeating.

9 MR. PERSENSKY: Well, you're going to have
10 an opportunity to see it again.

11 (Laughter.)

12 MR. PERSENSKY: The role as I see it of
13 the human factors research at the NRC is really to
14 provide the regulators -- NRR for the power plants,
15 NMSS for materials, and also now the NSIR -- and their
16 staff with the tools necessary to do their licensing
17 and monitoring tasks. Those tools should be developed
18 from the best available technical bases. With that,
19 there is also sort of an element of maintaining
20 competence with that research to do just that.

21 MR. WALLIS: Do they know what tools they
22 need?

23 MR. PERSENSKY: They have an idea of what
24 tools they need because they send us users needs.

25 MR. WALLIS: Are they specific enough to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 tell you what you need to do?

2 MR. PERSENSKY: In those cases, yes.

3 The ultimate goal of course is to ensure
4 that nuclear facility personnel have the tools, the
5 knowledge, the information, the capabilities, the work
6 processes, the work environment, both physical and
7 organizational to safely and efficiently perform their
8 tasks. That's generally what we try to achieve.

9 In your packet I believe you've got a copy
10 of SECY-01-0196, which was the last iteration of what
11 might be called the human performance or human factors
12 plan. That particular SECY said that we were going to
13 in fact sunset the development of a human factors plan
14 or human performance plan as an independent document.
15 Further, that those activities that might come through
16 the human performance program would in fact be
17 incorporated either in the HRA plan or the Digital I&C
18 plan in the future.

19 MR. POWERS: Now I saw no one crying over
20 the demise of that document.

21 (Laughter.)

22 MR. PERSENSKY: And that document also
23 presented where we were at that time.

24 The next slide is duplicate of the one you
25 saw in Erasmia's presentation. And again, it's just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to remind you that there is an interaction, an ongoing
2 interplay between the HRA disciplines here and the
3 human factors disciplines.

4 We're trying to work more closely both in
5 terms of providing the information and the data so
6 that we can enhance the HRA models, indicating where
7 there might be some problems where we need something
8 but that HRA/PRA isn't able to provide at this time.

9 One the other hand, they provide us, in
10 doing some of the work that we do, areas that we
11 should be focusing on, the needs that they have for
12 more data, and as well as an opportunity to provide
13 prioritization for the work they do.

14 This is the relationship between these two
15 groups. It doesn't say that we don't do things on the
16 other side as well, but in fact we do develop things,
17 the tools that they need. There are tools for the HRA
18 but there are also tools for the regulators.

19 MR. WALLIS: It would be reassuring if you
20 had things coming in and going out.

21 MR. PERSENSKY: But again, that's how we
22 interact.

23 We can jump into the next slide, which
24 gives you the listing.

25 MR. APOSTOLAKIS: Which branch of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Office of Research is the human factors?

2 MR. PERSENSKY: It's in the Regulatory
3 Effectiveness and Human Factors Branch. John is our
4 branch chief.

5 MR. FLACA: I'm am the branch chief of
6 that branch.

7 MR. PERSENSKY: We are a small team within
8 that branch.

9 As with Erasmia's slide, you'll see that
10 we do have a listing that's reminiscent along here of
11 the one slide from Scott's presentation, essentially
12 the functions and along the top, the types of
13 applications that you're interested in.

14 You can see from this that we, again, have
15 a number of activities that are going on. We'll go
16 through some of them.

17 MR. POWERS: I'd sure like to know what
18 the status is on fatigue.

19 MR. PERSENSKY: I'll delve right into that
20 then.

21 NRR has been tasked with developing a
22 rule. One of the reasons for that tasking is that
23 there was a PRM petition for rule-making, as well as
24 we got a couple of letters from some Congressmen. We
25 prepared SECY-01-0113 last year to the Commission that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 included in it a rule-making plan, and we're in the
2 process of developing that rule-making accords with
3 that plan.

4 We have almost monthly stakeholder
5 meetings with NEC, industry representatives as well as
6 UCS, and the petitioner are particularly involved.

7 MR. APOSTOLAKIS: So what you are trying
8 to do here is develop guidance that prevents fatigue
9 of the operator?

10 MR. PERSENSKY: We're hopefully developing
11 a rule that would allow the utilities to develop
12 fatigue management programs, which would reduce the
13 probability that a fatigued operator -- or fatigued
14 personnel. It doesn't have to be just operators --
15 would be operating or doing a maintenance task.

16 The agency currently has a policy
17 statement that was prepared in 1982. And one of the
18 reasons I'm involved with this is I have the
19 unfortunate history of having been the person that
20 developed that policy.

21 (Laughter.)

22 MR. PERSENSKY: It allows certain working
23 hours. What we've learned through the years is that
24 working hours is not the only aspect of fatigue.

25 That's why I mentioned fatigue management

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 programs because over the years, especially in the
2 Department of Transportation, they have been
3 developing new techniques to account for fatigue and
4 way of trying to reduce the effects of fatigue. We're
5 working with the industry to come up some guidance.

6 The draft rule is due back to the EDO in
7 July of 2003. We're starting the regulatory analysis
8 aspects of that, which is where we need some of the
9 risk information. And as I said, we've been working
10 with stakeholders to come up with some options in this
11 rule-making activity.

12 You will of course have an opportunity,
13 either at the draft rule stage or the final rule
14 stage, to review that, that work.

15 MR. LEITCH: In addition to working hours,
16 would this also include considerations of circadian
17 factors?

18 MR. PERSENSKY: The primary factors that
19 drive fatigue are circadian factors, length of shift,
20 age has a consideration, and the kind of work they're
21 doing. But, there are a number of factors that go
22 into it.

23 That's why we're trying to do it through
24 this fatigue management aspect, where we may have a
25 rule that addresses hours of work, but there would be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 guidance, industry guidance of how to train people
2 both for acknowledging and recognizing the effects of
3 fatigue as well as to train others to observe under
4 the behavioral observation program to see if one of
5 their colleagues is exhibiting some aspects.

6 We've also looked at -- there are some
7 techniques out there. There's some hardware, where
8 you can measure fatigue or keep people awake. We've
9 done some analysis of that. We're not necessarily
10 proposing anything in that area.

11 There are some algorithms that have been
12 developed, particularly in the transportation industry
13 as to -- you use that algorithm and include the time
14 of day, length of shift, how long they've been working
15 over a period of time, that that could give some
16 indication. We're looking at that as some
17 possibilities.

18 But right now, the rule is not being
19 driven by, again, that part of our technical bases
20 work that we've been doing.

21 MR. LEITCH: A lot of plants are going
22 away from eight-hour shifts to ten or twelve-hour
23 shifts. Have you looked at that?

24 MR. PERSENSKY: The best we've gotten, the
25 best count on that is around 50 percent are at twelve-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 hour shifts for operators, and either ten or twelve-
2 hour shifts for some of the other people. We have
3 done some work previously that has actually said
4 twelve-hour shifts, if done properly, they didn't
5 reduce operator performance.

6 One of the big issues of course is
7 there's normal operations and then there's outages.
8 And during outages, there's much more use of overtime
9 and going to the limits that are set currently in
10 their technical specifications. In order to achieve
11 the kind of outage periods, they need those hours.

12 So, we're trying to come up with -
13 again, we're working with the stakeholders and coming
14 up with some methods that we think will be acceptable.

15 MR. POWERS: If you were totally
16 successful in developing this algorithm that says
17 okay, here are the fatigue effects, as a function of
18 all these parameters that you suggested might affect
19 things: time, age, etcetera --

20 MR. PERSENSKY: Right.

21 MR. POWERS: -- and you feed that
22 information to the human reliability analysis folks,
23 wouldn't that drive them to time dependent PRA?

24 MR. PERSENSKY: I don't know that I know
25 the answer to that. I don't think because it's not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 all based on time --

2 MR. POWERS: It seems to me that if indeed
3 fatigue has the consequence of increasing the
4 likelihood of error in the course of a day that you
5 wouldn't want to just -- because it's collective. I
6 mean if one guy on his shift is becoming more error
7 prone, everyone on his shift is becoming more error
8 prone because the shift all begins and starts at the
9 same time.

10 MR. PERSENSKY: Well, again, during
11 outages that might be more of the case. But during
12 normal operations, it may not necessarily be the case
13 where everybody is staying. There's usually a
14 replacement for someone that's ill or calls in. So
15 from that standpoint, there is some difference between
16 those time periods.

17 But I'd prefer to turn the HRA question
18 over to our HRA experts.

19 MR. SIU: Actually, interestingly enough,
20 one of the discussion items in the elicitation process
21 we talked about for PTS, we did talk about things like
22 the time of day. But in the end, you are where you
23 are when the event hits, so you don't necessarily have
24 to track it.

25 I mean we're not being asked for a time

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 dependent result for, let's see, the vessel failure
2 frequency. If you want to know how some notion looks
3 at the annual average frequency, of course, figuring
4 into that average is how often you're in a condition
5 that might promote error in generation.

6 Again, this gets to back the very simple
7 minded representation of the ATHENA process. If time
8 of day were the only factor that you are concerned
9 about, you look at how likely it is that you're in the
10 window and then what the conditional probability of
11 failure given that you're in that window.

12 As Jay pointed out, of course, if you're
13 starting to look at interactions across the whole
14 plant and all the operating personnel, that can get
15 pretty hairy. But for the control room, at least
16 that's conceptually how we could address that.

17 I don't know, I guess in the short answer,
18 that that in itself would call for time dependent PRA.
19 It's more, do you need a time dependent answer to
20 address the concern you've got.

21 MR. ROSEN: One of the important factors
22 I think might be -- since we think that crew
23 performance is very important and not individual
24 performance in the event of an accident or quickly
25 moving scenario -- one of the important factors is, is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the crew actually the crew that trained together?
2 What percentage of crews are crews that are actually
3 relieved where one or more of the members are not part
4 of that crew, or have been socialized or trained with
5 that crew?

6 This could be important. Is this
7 something that you're looking at?

8 MR. PERSENSKY: Not necessarily with
9 regard to this particular effort.

10 MR. ROSEN: I suggest you think about that
11 as part of what you do.

12 As long as I'm interrupting the train of
13 thought, when you get the risk-inform CAP, I'd like to
14 hear about that although you didn't underline it. I'm
15 not sure what underlining means in this chart. I
16 guess it means you're not going to talk about it.

17 MR. PERSENSKY: No. What it means is that
18 I attempted, but failed because of my lack of
19 knowledge of Microsoft to make this a linked
20 presentation where I could just click on that and it
21 would take us to the appropriate slides.

22 (Laughter.)

23 MR. PERSENSKY: It works fine on my
24 computer. And if you'd all like to go up to my office

25 -

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (Laughter.)

2 MR. PERSENSKY: Unfortunately, when you
3 put it on to an "A" disk, it loses all those links.
4 I tried to actually come up with a way of fixing that
5 last night except my laptop died at home so I couldn't
6 do that. So, the only underlining was that it was
7 linked.

8 MR. ROSEN: So you're going to tell me
9 about risk-inform CAP at some point?

10 MR. PERSENSKY: Yes, we will get into
11 that.

12 MR. LEITCH: Just further on Dr. Rosen's
13 point, I've been aware of a couple situations where
14 not only didn't the crews train together, which I
15 think is an important factor, but in one case there
16 was a situation where the operators were operating on
17 an eight-hour shift and the operator of supervision
18 was operating on a twelve-hour shift.

19 So by definition, they couldn't have
20 trained together because for the first eight hours
21 this guy was there supervising, and for the last four
22 there was another supervisor. I mean there's just a
23 lot of this around the industry that just adds to the
24 complexity of the situation.

25 MR. PERSENSKY: It is a complex situation,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and we do not regulate currently in terms of the
2 number of shifts or the way they rotate. We do
3 regulate the number of licensed operators that are
4 required on each shift, depending on the mode that the
5 plant is on.

6 But, we don't tell them that they have to
7 rotate together. We don't tell them they have to have
8 six shifts. It sort of works out that five or six
9 shifts works out to be a good way of running it unless
10 you have 12 hours then you'd go down to four
11 rotations.

12 Each plant does have its preferred way of
13 doing it, and at this point we don't regulate with
14 regard to that.

15 MR. ROSEN: But if you found a way of
16 doing it that had negative risk implications, I assume
17 you would regulate it, wouldn't you?

18 MR. PERSENSKY: If we could determine the
19 actual effects from a risk perspective. Personally,
20 I don't think that risk models at this point are
21 mature enough to be able to do that. I may be wrong.

22 MR. ROSEN: Is that what we're trying to
23 do, to find out what is it about human performance
24 that's positive and negative, and reinforce the
25 positive, and do things to not let them get into

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 negative conditions. That seems to be the whole
2 objective of this thing.

3 MR. PERSENSKY: That is the general
4 objective.

5 MR. ROSEN: So I would encourage you to be
6 thinking about training and crew performance in that
7 light. There are some things one can do in a power
8 plant in terms of staffing the control room that are
9 not good from a risk standpoint.

10 MR. LEITCH: This particular situation, I
11 just found out is not good from a risk standpoint and
12 I had it changed. But what I'm saying is it had been
13 going on for quite some time. Intuitively, it doesn't
14 seem to make sense that for some portion of the shift
15 you're reporting to one group and --

16 MR. ROSEN: And what drives that is
17 absenteeism. I mean plants don't set up to have a lot
18 of that kind of thing happen, but it happens in fact,
19 especially in plants with very experienced crews that
20 need to have a lot of time at the plant, which means
21 their older, they have more vacation -- these programs
22 add vacation for people as they get 10, 20, 30 years
23 of employment. That means that the guys is not
24 necessarily sick. He's just taking his vacation. And
25 when does he take his vacation? When the plant is not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in the outage. In the outage, they try to get
2 everybody to come to work.

3 So during normal operation, you're going
4 to find many, many crews with people who are relieving
5 crews that are not self-relieving, where you don't
6 have enough people to fill in on the crew, with people
7 who have trained with that crew.

8 So you're going to have lots of
9 circumstances in which the crews haven't trained
10 together even though we all know it's best that they
11 do. In fact, they do train together. Our simulator
12 tests are based on crews that are training together.
13 So in that sense, they again can confound the
14 analysis. If you use the data from those tests that
15 confounds, it's not going to be as good as that in the
16 real world because of this phenomenon described.

17 These are human factors considerations.
18 I'm just mentioning them because I think they're
19 important.

20 MR. PERSENSKY: Thank you. And in fact,
21 it does encourage certain things. But again, it's
22 more of an encouragement rather than a direction.

23 SRP Chapter 18, again, this is a tool.
24 This is a real tool that the people in NRR use. This
25 is a human factors chapter. It's based on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 document that we prepared, NUREG 0711, which is the
2 human engineering program review model. It addresses
3 how we should do our reviews of changes to our plans,
4 to new power plans, our control rooms.

5 We've done a number of projects related to
6 bringing together enough information to go forward
7 with the revision to that SRP. Again, that will be
8 subject to an ACRS briefing.

9 MR. APOSTOLAKIS: Does it get into
10 organizational issues?

11 MR. PERSENSKY: It does not. Chapter 18
12 does not get into organizational issues. Chapter 13
13 does have some element of organizational issues. But,
14 it's not in Chapter 18.

15 Chapter 18 focuses primarily on interface.
16 It's a process kind of document. It also has some
17 aspects of procedures, training, and all that in to
18 how you would do an entire human factors program at a
19 utility.

20 I mentioned earlier the staffing work.
21 The project here, again, this is based on user need
22 that relates both to advanced reactors as well as to
23 current reactors in that some reactors in their
24 changes -- you know what I'm saying? If we completely
25 change out our control room as completely a digital

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and much more automation involved, there would be some
2 opportunity to perhaps reduce the staff at a
3 conventional reactor.

4 We're trying to develop a tool that would
5 be used by the licensees that is based on what is
6 called Path Network Modeling, which is a type of human
7 behavioral modeling used extensively in the military.
8 Also, NASA uses similar models.

9 We have done some testing of this type of
10 modeling in the past in terms of trying to say, how
11 good is it, by doing experiments where we have a
12 shadow study, where you model and see how well you
13 think the operators would perform. Then, actually
14 collect data at a simulator to see how well the
15 operators do perform given the various situations that
16 could addressed to try to verify or validate that
17 modeling technique.

18 At this point, we're looking at trying to
19 develop this as a tool for the review of staffing
20 proposals that come in from the utilities.

21 MR. LEITCH: I guess I'm trying to
22 differentiate between new reactors and current
23 reactors. Are there any plants where the licensees
24 are seriously proposing changing their control rooms
25 because of instrumentation changes?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PERSENSKY: We have no applications.
2 Again, because I'm familiar -- I've been working with
3 EPRI on their development of design guidance for
4 hybrid control rooms -- that issue has come up a
5 couple of times at those meetings as possibilities.

6 MR. LEITCH: You also said something about
7 additional automation, if I understood you correctly.

8 MR. PERSENSKY: That's right. Those are
9 things that are being considered by various utilities
10 at this point.

11 MR. LEITCH: being considered for current
12 plants?

13 MR. PERSENSKY: Current plants. There is
14 at least one plant that intends to shut down and
15 completely replace their control room at one time.
16 as opposed to doing the piecemeal type of changes that
17 have been mentioned.

18 MR. POWERS: When you bring up the issue
19 of automation, there's also the issue of non-
20 automation. And with existing reactors, it seems to
21 arise in front of the ACRS episodically, but maybe a
22 cycle of every three years, where the issue comes up:
23 should we automate some function because there's
24 insufficient time for manual action?

25 The staff has at various times attempted

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to approve I guess it's a regulatory guide in that
2 regard, and the committee has resisted it because the
3 underlying data is proprietary. Is there something
4 being done to address that situation?

5 MR. PERSENSKY: Actually, there's a NUREG
6 that has come out -- unfortunately, I can't remember
7 the number off hand, but I do have it here -- that
8 attempted to come up with a different method whereby
9 you would use risk information to categorize the risk
10 level of a particular operator action. Based on that,
11 they would determine the level of human factors
12 review.

13 Again, that will be part of the Chapter 18
14 revision. You'll have an opportunity to see that in
15 more detail when that comes for review. But, we are
16 looking at that as a replacement for ANS 58.8.

17 On the reactor oversight process, the ROP,
18 we did a study -- actually, INEEL did the study for us
19 -- on looking at whether or not the reactor oversight
20 process adequately address human performance or what
21 kinds of things may not be caught given the reactor
22 oversight process.

23 A major recommendation that came out of
24 that particular piece of work was that it appeared
25 that a number of the corrective action programs were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 not keeping up to date with -- they weren't able to
2 implement the fixes rapidly enough or prioritizing the
3 kinds of fixes based on risk. So, we were seeing
4 repeat kinds of incidents.

5 So, we recommended to NRR that they look
6 at the current corrective action program inspection
7 module, which essentially asked the review or
8 inspector to use risk as one of the aspects of looking
9 at what they should be reviewing. But, it doesn't
10 give them very good guidance to what that mean.

11 We proposed to NRR that one of the things
12 we'd do is to provide better guidance on how to do
13 that, that risk of the backlog in the corrective
14 action program. We have not heard back from NRR on
15 that, but that's one of our recommendations.

16 MR. ROSEN: I think that's a very valuable
17 step. Although, I've seen some very good corrective
18 action programs in use in utilities.

19 There is still that weakness that they
20 don't prioritize very well based on risk. The
21 priorities are more historical in context. Maybe the
22 highest priority things are things that are reported
23 on LARs.

24 There are different protocols that are
25 not risk based for prioritizing work in the plant. I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 think that's a fundamental flaw. I've encouraged some
2 utilities to do better, to do what you're suggesting
3 or at least consider risk as one of the primary things
4 that you think about when you prioritize corrective
5 action.

6 MR. POWERS: How could you do that if you
7 don't have a fire PRA?

8 MR. ROSEN: Well, fire is not the only
9 risk. But I think in the cases where you have a fire
10 risk and don't have a PRA, it's a problem.

11 MR. POWERS: Sure. But I've seen based on
12 my episodic trips to plants in examinations of
13 corrective action programs, if I'm going to guess what
14 is the longest, the corrective action with the longest
15 lifetime on list, it'll always be something connected
16 with the fire protection system.

17 MR. APOSTOLAKIS: I was reading the root-
18 cause analysis that was done for the Davis-Besse
19 incident, and in several places there are sentences
20 like "plant was restarted without taking corrective
21 action for identified problems" and "the management
22 ineffectively implemented processes".

23 Are you trying to help the corrective
24 action program from that point of view? I mean what
25 do you do if they know about the problems and just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 don't do it?

2 MR. PERSENSKY: That's part of the
3 inspection process. We're trying to develop a way to
4 at least identify what they should be doing or what
5 are inspectors should looking for.

6 At this point, and I'd have to turn it
7 over to NRR for a regulatory perspective as to what
8 decisions they'd make. Those are regulatory decisions
9 that they'd have to make.

10 MR. APOSTOLAKIS: Is there any attempt to
11 develop performance indicators or good corrective
12 action programs verses a bad one?

13 Another thing that was missing evidently
14 was doing hazard analysis. That seems to me to be
15 something that one can look at the work processes and
16 identify. Incorrect implementation of a program is
17 not an issue of a work process. It's something else.
18 So, I wonder whether it would be a good idea to try to
19 develop some indicators that will alert the inspectors
20 to the fact that something is not being implemented
21 right?

22 As you know, the reactor oversight
23 process, a good piece of it is performance indicators.
24 Well, these performance indicators have nothing to do
25 with human performance.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PERSENSKY: That's correct.

2 MR. APOSTOLAKIS: But the question is
3 should we be trying to develop performance indicators
4 for human performance, not necessarily of the same
5 kind where they have frequencies or events, but maybe
6 of some other kind but, still performance indicators.
7 Or, should that question be addressed to NRR? I don't
8 know.

9 (Laughter.)

10 MR. POWERS: Tell him the answer is NRR.
11 Let's stay on human factors here.

12 MR. PERSENSKY: We do have some STPs.
13 There's an STP on licensing for instance, and there
14 have been some attempts in developing further STPs in
15 the human performance area.

16 Most of those things that you would pick
17 up in the human factor area come out of inspections,
18 not out of the PIs. The assumptions were that the PIs
19 would be something that would -- human performance
20 would show up in the PIs. That's why they call it a
21 cross-cutting issue.

22 So, we have not yet attempted to do a
23 human performance PI. Back in the early 90s, we took
24 some shots at it.

25 MR. ROSEN: I think they should. A lot of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 plants have much better human performance data than
2 they used to have.

3 MS. LOIS: I'm talking about late 80s,
4 early 90s.

5 MR. LEITCH: The problem is that there's
6 no uniform standard as to how the plants collect and
7 analyze that data. I mean every plant has its own
8 system of doing things, some of which are very
9 effective. But when you compare plant A with plant B,
10 it's very difficult to perform that kind of
11 comparison.

12 MR. APOSTOLAKIS: But I think one of the
13 things that should be done, probably by your group, is
14 to look at the inspection, the ROP, and take the root-
15 cause analysis of Davis-Besse and other analyses, and
16 every time they identify a problem, ask yourself:
17 which part of ROP would actually catch this? Some of
18 them are easier to catch than others.

19 MR. PERSENSKY: In a way, we did. What we
20 did in doing this project was we went back to ASP
21 reports -- or ASP plants that were high-risk plants,
22 and looked at whatever archival data that we could
23 then compared it to the ROP process. But of course,
24 most of that data came from pre-ROP events. I think
25 to follow on with some more recent situations like

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Davis-Besse and Indian Point might continue to be an
2 exercise.

3 MR. APOSTOLAKIS: I think that would be a
4 very good exercise.

5 MR. PERSENSKY: But that exactly was the
6 process we used.

7 I mentioned some of the other work as far
8 as the inspection manual for the materials and waste
9 area. Erasmia mentioned fitness for duty. Fitness
10 for duty as you know is undergoing a rule change.
11 They're talking about including fatigue and
12 decommission of plants in the drug and alcohol portion
13 of fitness for duty. In fact, fatigue is going to be
14 in part 26 of the rulemaking. There won't be a
15 separate rule for fatigue. It's probably going to be
16 in part 26.

17 Just a couple things on what we consider
18 to be infrastructure of the development of the needs
19 to support the other work. The Halden Reactor
20 Project, which some of you are familiar with, is one
21 of the few places that we have access to simulators
22 for research projects. We're been using the Halden
23 project, that project in Norway.

24 MR. POWERS: I've got to ask my questions.

25 MR. PERSENSKY: I knew you would.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. POWERS: I still have to understand
2 how a Norwegian reactor operated by a Finnish has an
3 yield results that have any applicability to American
4 reactors operated by American crews.

5 MR. PERSENSKY: To start off with one is
6 to correct some information. One, it is a simulator
7 of a Finnish reactor and we use the crews from that
8 plant. It's from Loviisa, so they're Finnish
9 operators operating a plant in Norway. They happen to
10 be located in Norway, but they're inside an enclosed
11 building. It really doesn't matter. And, they're
12 used to the weather.

13 (Laughter.)

14 MR. PERSENSKY: As far as trying to give
15 just a briefing, we have looked very closely at what
16 goes on. We have looked at their training programs,
17 we have looked at their procedures, and we've compared
18 it to the kinds of things that go on in the US. But
19 the bottom line is it's something that's available to
20 us. We don't have a research simulator here in the
21 US. That is something that we can modify as we can
22 with the Halden reactor.

23 MR. ROSEN: Should you have a simulator
24 for research here in the US?

25 MR. PERSENSKY: I think from the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 standpoint of cost, it would be fairly hard to
2 justify.

3 MR. ROSEN: Don't get into the cost.

4 MR. PERSENSKY: It would be very useful to
5 have our own research facility. We've addressed this.
6 Actually, there was a DOE meeting earlier this year,
7 I guess in May, where we talked about it in terms of
8 developing a research simulator for advanced reactors.

9 MR. ROSEN: I was thinking of a multi-
10 capable simulator that you could configure.

11 MR. PERSENSKY: That's exactly what the
12 Halden simulator is. In fact, we talked about that in
13 the past, but they now can configure it to be used as
14 a PWR or a --

15 MR. ROSEN: It's basically just a
16 computer, right?

17 MR. PERSENSKY: It's a computer with some
18 workstations.

19 MR. ROSEN: Right. And the more you get
20 towards an N4 type control room, where the operator
21 sits in front of a computer screen, the easier it is
22 to change the program and then you're in a different
23 plan.

24 MR. PERSENSKY: Right.

25 MR. ROSEN: It would seem to me that one

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ought to be thinking about that sort of thing and not
2 saying we have to go to Norway and use Finnish crews
3 because we don't have that in the US. What we have in
4 the US is what we need, and if we need it then we
5 ought to be thinking about it.

6 MR. POWERS: I think it's an excellent
7 question. It's exactly what this subcommittee ought
8 to be pursuing, what would be very desirable to have.
9 It's what the people like John Flaca get paid the big
10 bucks for to decide what they can actually afford do.
11 And the Commission gets big bucks to decide where the
12 money ought to come from. But we ought to be deciding
13 what would be desirable.

14 MR. ROSEN: We ought to be at least
15 discussing it.

16 MR. APOSTOLAKIS: Yes, as long as they
17 promise not to fly over the Finnish crews.

18 MR. POWERS: Yes, don't bring the Finnish
19 crews here.

20 (Laughter.)

21 MR. PERSENSKY: They're interesting
22 people. Bruce has had a lot of opportunities since
23 Bruce actually worked in Halden for several years. He
24 did excellent PRA work as a matter of fact.

25 MR. POWERS: And the Swedes make excellent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 jokes about them too.

2 MR. PERSENSKY: But currently, it's part
3 of our infrastructure. A big part of it is the fact
4 that they have a facility that we can use that is
5 reconfigurable. And we're moving towards making
6 better use of that data for HRA, not just human
7 factors projects.

8 MR. POWERS: That's really the substantive
9 issue. That, you've collected all these data from the
10 Halden project, now what do we do with it?

11 MR. PERSENSKY: We have used it in the
12 past for the development of the guidance that is going
13 to be in the SRP.

14 MR. POWERS: The question often comes down
15 to is that the source of the three-foot telephone
16 cable and --

17 (Laughter.)

18 MR. PERSENSKY: There never was a three-
19 foot telephone cable. That was a miscommunication.
20 We have gone back and looked at all versions, draft
21 version of those 700 and there was never one that
22 included a three-foot telephone cable as a guidance
23 document.

24 MR. APOSTOLAKIS: Humphrey Bogart never
25 said play the games. You're suffering from the same

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 thing.

2 (Laughter.)

3 MR. PERSENSKY: Actually, now the question
4 is whether or not we're going to allow wireless.

5 MR. POWERS: In seriousness, Steve has
6 raised the question: should we have our own research
7 reactor? I mean has this Halden thing proven so
8 useful that in fact we should have our own? The
9 question is, indeed, are others' data proving to be
10 very useful?

11 MR. PERSENSKY: We have made use of the
12 data. We intend to make more use of it, especially in
13 the HRA area. That doesn't necessarily negate the
14 question. Again, part of it is just like everything
15 else. It's a cost/benefit issue.

16 MR. POWERS: Yes, but other people in
17 higher pay grades than ours get to make the financial
18 decisions. We ought to be making the technical
19 decisions.

20 MR. PERSENSKY: Well, we have --

21 MR. POWERS: . . . go by the committee
22 and sell us three times over just based on his monthly
23 wage, right?

24 MR. FLACA: Well, the question comes down
25 to what is the benefit of going in that direction

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 above and beyond what we can get from the reactor.
2 That's the bottom line.

3 We do have simulators at TTC. And to
4 move ahead and look at advanced reactors, I mean it
5 has really established the capability to be able to
6 ask questions. Whether or not we're asking all the
7 right questions -- we might be, but how do we know for
8 sure -- there's still the uncertainty that surrounds
9 that aspect. And, the question is how does it
10 indicate, or what kind of indication, or how much can
11 we gain from something that we own verses something
12 that we observe and move into collaborations with
13 other organizations?

14 You're right, it has to be thought out.
15 We need a basis for going in that direction. That's
16 up to the committees. We need insights in those kinds
17 of issues. It's very helpful to us in making those
18 decisions. I think that's why we're here.

19 MR. POWERS: Yes, I mean I just like the
20 idea that there'd be some vision or -- I appreciate
21 Steve bringing the question up.

22 MR. FLACA: Yes, sure.

23 MR. POWERS: The issue that most perturbs
24 me about the HRA and human factors areas is this
25 vision of what we really ought to be as opposed to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what -- all these day to day activities that we're
2 carrying out right now, what do we really want to be
3 in future in this area? That, I don't have well
4 articulated. I mean I don't see the vision right now,
5 and it's going to come up this afternoon when we
6 discuss tools.

7 MR. ROSEN: Dana, it will come up because
8 Peter Ford is asking it. In the context of ACRS'
9 review of the advanced reactor research program, he
10 has asked the question: where do we want to be in 15
11 years? And I think in the human factors area, we need
12 a whole new set of questions.

13 It's helpful for me to go through this
14 dialogue with you and the rest of the committee
15 because we need to answer that question. You and I,
16 Dana, have to write that section -- you and I and
17 several others.

18 MR. PERSENSKY: Just to finish up my part,
19 I just want to touch on something because it also
20 addresses the issue of words we can't say like safety
21 culture.

22 Under international activities, one of the
23 things that we did agree with the Commission is that
24 we would be able to follow what's going on in other
25 places. To that end, we have Dr. Shurston Dahlgren

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from IAEA, who is one of the people that does the
2 safety culture reviews for the IAEA, who will be
3 giving a seminar here on September 23rd.

4 MR. APOSTOLAKIS: Is that the ASCOT
5 methodology?

6 MR. PERSENSKY: More than that. It's gone
7 beyond ASCOT.

8 But, she's coming here and will be giving
9 a seminar on --

10 MR. APOSTOLAKIS: Who is this person?

11 MR. PERSENSKY: Shurston Dahlgren.

12 MR. APOSTOLAKIS: Oh, yes. I know here.

13 MR. PERSENSKY: At 10:30 and --

14 MR. APOSTOLAKIS: Which day?

15 MR. PERSENSKY: September 23rd. It's a
16 Monday. September 23rd at 10:30 in T-10-A1 of this
17 building. It went out as a network announcement. Do
18 you guys get the network announcements?

19 MR. APOSTOLAKIS: Oh, yes.

20 MR. PERSENSKY: It said "seminar on safety
21 cultures".

22 So again, that's part of what we're doing
23 in keeping abreast of what's going on. Since we're
24 going to have this afternoon to get into more detail
25 on some of these things, I'd like to turn it over to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Bruce because they need to leave this afternoon to go
2 back to Idaho.

3 Bruce is going to talk about a project or
4 a couple of projects really of how they have taken
5 Halden data and are trying to apply it into the HRA.
6 Bruce was at Halden at the time the work was being
7 done.

8 So, Bruce Hallbert.

9 MR. HALLBERT: Thanks. Can I borrow your
10 microphone?

11 MR. PERSENSKY: Sure, if I can get it off.

12 MR. APOSTOLAKIS: Human and intelligent
13 systems. There is a clear distinction between humans
14 and intelligence.

15 MR. HALLBERT: It's not meant to be
16 exclusive, George.

17 MR. APOSTOLAKIS: How do I know?

18 MR. HALLBERT: Good morning. I'm Bruce
19 Hallbert and I'm pleased to be invited to speak here.

20 As Erasmia and Jay have mentioned in their
21 discussions, we're doing work with the Nuclear
22 Regulatory Commission in the area of human reliability
23 analysis data. I'm going to talk this morning about
24 using simulators in human factors research with the
25 subtopic of linking this human factors research with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 human reliability.

2 There certainly are a variety of sources
3 of information that can be used to form human
4 reliability analyses. It's the hypothesis of this
5 discussion here that simulators are one of those
6 viable sources.

7 Next slide please. As Jay mentioned, most
8 of the work that will be presented in this discussion
9 was work that was conducted while I was in the Halden
10 Reactor Project although some of the sources that are
11 referenced here were also generated by the INEEL
12 previously.

13 So the purpose of the work being presented
14 today is to discuss the study of human performance in
15 which data are present to inform HRA activities. I'll
16 discuss more about that study in the following slides.
17 But the intent in doing so is to illustrate, for
18 example, some of the relationships between human
19 factors research and HRA to show that they are
20 complimentary and can not only co-exist, but be very
21 fruitful in their interactions.

22 Next slide please. I'll start the
23 discussion today by discussing some of the potential
24 areas in which simulators can support, or where
25 simulator-based research or activities can support

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 human reliability analysis. Then I'll move to an
2 overview and a background of a particular simulator-
3 based research project.

4 This project was sponsored by the Nuclear
5 Regulatory Commission to evaluate the issue of main
6 control room staffing for advanced reactors. I'll
7 talk specifically about what was the issue under
8 consideration and what we mean by, specifically, what
9 kinds of advanced reactors.

10 I'll provide a background to that. I'll
11 talk about how we did it. I'll talk about the
12 underlying science and assumptions that were important
13 in guiding the way that we set up the experiments,
14 which data was collection. I'll give you some
15 examples of how those studies were conducted,
16 including pictures, then talk about the results.

17 The results from the study that I will be
18 presenting will be relevant for the issue of staffing
19 of advanced reactors, but I hope to use it to
20 illustrate the convergence of that particular research
21 topic with the general topic of human reliability
22 analysis.

23 From there, I'll move into what we're
24 calling an embedded study, which is a preliminary
25 exploration of performance shaping factors and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 performance, specifically main control room operator
2 performance with the notion that there's linkage here
3 between studies of performance shaping factors and
4 operator performance and HRA. Then, I'll summarize
5 the results.

6 Hopefully then, where we want to go with
7 this is to have sort of an open discussion on the
8 potential of these kinds of things in supporting HRA.

9 Next slide please. It's our position here
10 that simulator studies and simulator-based activities,
11 whether they're studies per say or not, can provide
12 useful data for HRA.

13 By that we mean, for example, you can
14 carry out research embedded within other activities in
15 which you can explore the relationships between
16 performance shaping factors, which are an important
17 element of human reliability analysis methods and
18 performance and hopefully also by extension to
19 consider situations of operator error.

20 MR. POWERS: Mr. Rosen has raised the
21 issue that seems to me to strike at the heart of this
22 hypothesis that you've put up here.

23 MR. HALLBERT: Yes.

24 MR. POWERS: That, the thing that upsets
25 the performance of a crew the most is when we have an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 interloper in here.

2 MR. HALLBERT: A what?

3 MR. POWERS: An interloper, someone who
4 has not trained with this crew, who has not socialized
5 with this crew. I mean it's not like we got a Finnish
6 operator and stuck him in here. But, he is different.

7 It seems to me that until you can address
8 Mr. Rosen's question, this stands subject to some
9 substantial debate.

10 MR. HALLBERT: Okay, I'll be happy to
11 entertain that debate as well too. I intend to
12 address the issue of making conditions representative
13 for making inferences that are applicable to US plants
14 from these kinds of studies.

15 The specific issue of the interloper --

16 MR. ROSEN: Well, I think Dana is maybe
17 exaggerating the importance of it.

18 MR. HALLBERT: He'd never do that.

19 (Laughter.)

20 MR. ROSEN: I think it's important. But,
21 where a qualified SRO, for example, relieves someone
22 from the crew who is on vacation, and he is from a
23 different crew, perhaps on his weekend so there is a
24 fatigue consideration because he comes in at a time
25 where he's supposed to be resting.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 He has not trained with this crew and
2 different communication protocols were established
3 perhaps -- not fundamentally. He's still taking part
4 in the three part communication and that sort of
5 thing, but he may not be in his normal role since he
6 may be operating as unit supervisor. And, in the crew
7 that he's actually in, he's just a SRO or vice-versa.

8 So, there are also different issues of how
9 people communicate, who's in charge here, what do you
10 expect me to do, what do I do --

11 MR. POWERS: But that unusual circumstance
12 is never going to be reflected in the data they get.

13 MR. ROSEN: Right, it's not. And that's
14 the question I pose. Is it, and how would one address
15 it?

16 It's a fairly normal circumstance. I
17 would guess that in plant on average -- now this is
18 just a guess -- but perhaps 20 percent to a third of
19 the time.

20 MR. POWERS: My calculation said it could
21 be as high as a third.

22 MR. ROSEN: High as a third. So 20
23 percent to a third of the time, you'll find crews
24 operating with one or more members who are not part of
25 the standard crew.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HALLBERT: I think the condition that
2 you are describing can be studied through simulators.
3 I think simulators would be a very logical way of
4 evaluating that particular issue through the
5 collection of data.

6 I'll say also that I don't have any data
7 here to present today, but my own personal
8 observations from having conducted a number of
9 different research projects like this would be
10 consistent with the issue you raise here. That, in
11 fact, team performance is critical and the factors
12 that contribute to that, if they come out of alignment
13 with regard to leadership with regard to
14 communications factors and the normal division of
15 labor and aspect like that, can influence performance
16 and have influenced performance.

17 MR. POWERS: My next question is having
18 identified one potential flaw in the use of simulator
19 data, what are all the other flaws?

20 MR. HALLBERT: All the other flaws of
21 using simulator data?

22 MR. APOSTOLAKIS: Why is it a problem?

23 MR. HALLBERT: I don't know.

24 MR. POWERS: But see, we're calling into
25 question all the simulator data --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. APOSTOLAKIS: Or that exists.

2 MR. POWERS: That exist, that can be
3 generated. If I can do with one question raised by
4 member of the subcommittee here spontaneously, are
5 there lots of other things?

6 MR. BONACA: I have other things. The
7 question I have is -- I mean this is being done for
8 foreign plants. But do you have crews just as they
9 are in the US? The question is do they have written
10 procedures as we have in the US, which are different
11 from procedures in other countries?

12 Those are really questions that I think
13 will really affect the performance.

14 MR. HALLBERT: Yes, let me address those
15 head on. I was going to address them in some slides
16 that are going to come, but I'll take them right now.

17 It was, of course, a concern for us in
18 designing this particular study but other studies as
19 well to make the results generally valid, externally
20 valid to the user group. In this case, the Nuclear
21 Regulatory Commission in the US.

22 What we did to address some of those
23 concerns was that we traveled to the plant in Finland
24 that volunteered to participate with us in the study.
25 We had the NRC along on that trip, and we evaluated a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 number of things.

2 We looked at their training program and
3 found it to be generally comparable to IMPO standard
4 accredited types of training programs for training
5 licensed reactor operators and other control room
6 personnel. So, we looked at that and satisfied
7 ourselves that they were following a process similar
8 to what US plants follow for training their personnel
9 in the control room.

10 We looked at how the division of labor was
11 accomplished in the main control room because this was
12 a study of main control room staffing. Again, we were
13 satisfied that the division of labor fell into the
14 same major categories as in the US plants and very
15 closely, parallel to division of labor of control room
16 personnel.

17 MR. BONACA: And they have symptom-
18 oriented procedures?

19 MR. HALLBERT: Yes, and I'll come that in
20 a second. I'll finish with the staffing though.

21 They have a control room supervisor, who
22 may also be the shift supervisor. They have shift
23 technical advisor, who is also a degreed engineer who
24 has also got training in reactor operations and
25 license. They have a balance-of-plant operator and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 their philosophy for control room operation is similar
2 to the philosophy of control room operation at the US
3 plants.

4 MR. POWERS: You say that it's similar?

5 MR. HALLBERT: Yes.

6 MR. POWERS: That means that it's not
7 identical. How do I judge similarity? I mean how
8 close is close.

9 MR. HALLBERT: I would say in similar and
10 all relevant aspects that would contribute to the
11 findings from operator performance in generalizations
12 to the US situation here. In other words, they were
13 so similar that we couldn't really detect any
14 meaningful differences.

15 There are some differences in the plant
16 design, of course, so we couldn't say that the
17 function allocation or all the responsibilities for
18 this reactor operator at the Finnish plant would be
19 the exact same as those for the US plant operator
20 because there are these plant design differences.

21 MR. ROSEN: There are plan design
22 differences in the US as well.

23 MR. HALLBERT: That's true.

24 MR. PERSENSKY: As well as control room
25 operating philosophy. I mean we just talked about it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 before that in some plant they train together and in
2 others they don't. They rotate together and in others
3 they don't.

4 So, there are differences with in the US.
5 I don't think that the differences that we observed at
6 Loviisa were that much different than what you would
7 see within plants here.

8 MR. BONACA: What about cultural --

9 MR. HALLBERT: For these intense purposes,
10 I think --

11 MR. POWERS: What's causing the question
12 is -- you're going to collect simulator data and
13 you're going to say, from this I'm going to make
14 judgments about normal operations. We've identified
15 one potential flaw in that data. I don't know that
16 it's a flaw, but it's a potential flaw. And now we
17 come to this cultural flaw and
18 say that it's similar, but we know we have a vast
19 amount of differences. So, it's only similar to some
20 subset of US reactors. It lacks generality.

21 These are the kinds of questions the
22 research program has got to be generating concerning
23 its experimental methods. I'm questioning whether
24 we've done an adequate job here. I'm questioning
25 their methods.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HALLBERT: We certainly had the same
2 concerns at the outset of whether we could the study
3 for the NRC. That's why we had the NRC along with us
4 at these meetings.

5 I guess maybe what I should say is that
6 where we ended up on the issue of main control room
7 staffing and division of labor and responsibilities is
8 we found them to be equivalent from everything that we
9 had to compare them by.

10 MR. BONACA: One thing that is known about
11 Loviisa is they really have an outstanding history of
12 operations, technical management, and extremely
13 involved crews. I'm not sure you're going to
14 reproduce that kind of quality. All I can say is that
15 from what I understand is it's the kind of performance
16 on their part.

17 MR. HALLBERT: One of the reasons why we
18 selected them was that they had set world records for
19 availability and performance, and also because they
20 were very advanced within the European countries for
21 their use in PRA and incorporating it into operations
22 and procedures.

23 MR. KRESS: It seems to me like your
24 studies are asking the question: Is this something
25 that would be a useful approach? It may not be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 definitive in the detail of quantifying it, but if you
2 made the judgment that this was an approach that is
3 useful then to address these questions of differences
4 in culture and differences in plants, it seems to me
5 like you would need to go to actual US plant
6 simulators with US operators and do this same sort of
7 study on a plant specific basis across the country.

8 Is that something that's part of the
9 thinking if this proves to be a viable approach?

10 MR. HALLBERT: I think that's a good idea.
11 There was previous research that was done and the
12 author of the work was Ed Marshall. He considered all
13 the factors that could contribute to confounding of
14 results from simulator-based studies or experimental
15 research at this time.

16 So, there had been some thought previous
17 given to that. We used that work that was done -- and
18 I would apposite that for future work of this kind
19 that some kind of list like that or methodology for
20 consideration of confounding factors needs to be taken
21 into account.

22 MR. BONACA: That goes to the heart of my
23 question too of why we haven't talked yet about the
24 symptom-oriented procedures because that included all
25 these elements. That includes all the elements of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 observation of simulators, tailoring the procedures
2 for specific situations, and in fact, testing to
3 verify that those kinds of estimations and reactions,
4 etcetera, were correct.

5 The other thing is that procedures went
6 heavily into abnormal conditions and really no design
7 for the situation as you recall from previous
8 observations -- so, there is a lot of valuable
9 information.

10 I've always felt the pressure because of
11 the timing. I mean every year that goes by that we
12 don't have the information, the vendors are going to
13 lose it because the people in those companies are
14 going away, they're not there anymore. I think having
15 that information would be a tremendous benefit to
16 these activities. I'm not saying that you should just
17 take what is there.

18 MR. KRESS: Is that information
19 sufficiently complete to form shaping factors and
20 their quantification?

21 MR. BONACA: Well, I remember for the BWRs
22 there were a number of iterations to the APGs that
23 went year after year. We worked for years doing that
24 kind of stuff. Some of them that were tested weren't
25 acceptable. Therefore, there was a new generation of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 APGs. The data placed in the industry around the APGs
2 were the same for the PWRs, were extensive.

3 MR. PERSENSKY: One of the big problems
4 with any industry data is its availability to the NRC.

5 MR. BONACA: I understand.

6 MR. PERSENSKY: Just as Dana brought up
7 earlier, the ANS 58.8 was based on work that was done
8 for EPRI. Because of its proprietary nature, it's not
9 available so it's hard to get at a lot of that data.

10 The same thing is true with using utility
11 simulators. One, mostly they're busy. And two, they
12 aren't that eager to allow NRC to come and do
13 research.

14 MR. BONACA: EPRI also generated the
15 scenarios that you have assumed in the back of the
16 procedures, the technical portion. The rest was
17 developed by the ORE groups. Much of the information
18 was in the hands of licensees. And I think they do
19 need to share it.

20 MR. HALLBERT: I think that's a good
21 suggestion. I think in our first consideration of
22 what are the potential sources, we shouldn't leave
23 stones unturned. We should try to take into account
24 what data is out there. Even if it doesn't suit the
25 purpose that we're looking for right now, it may suit

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 another purpose in the future.

2 MR. ROSEN: And I think you should be
3 careful about saying that because it's proprietary,
4 they won't give you access to it. All that means is
5 you can't have it in the open literature. Typically
6 that means you can't ascribe the data to a specific
7 plant. But if you want it and went to the right place
8 at EPRI, they might agree to give it to you.

9 MR. PERSENSKY: In fact, that particular
10 ORE data, we did get access to. But again, there's
11 difficulty in making it available to others and to
12 reference it because of the --

13 MR. ROSEN: My only concern is --

14 MR. POWERS: Let me interject here.

15 MR. ROSEN: -- because it's proprietary,
16 that doesn't mean you can't get the value of it if you
17 approach the problem correctly.

18 MR. POWERS: The problem is when you try
19 to use it for a regulatory process, you have to give
20 it to the public.

21 Let me just interject. You have a time
22 limit. You're on slide 4 of 17. I intend to
23 interrogate the committee, which is tough, and we'll
24 go through lunch with no trouble at all but they get
25 to be irascible.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HALLBERT: I'm happy to work to your
2 schedule here.

3 MR. POWERS: I think that's fine, but I
4 suggest that we go on through this presentation
5 because I to want to interrogate them and then break
6 for lunch.

7 MR. HALLBERT: Okay, that's fine.

8 MR. APOSTOLAKIS: One last question. I
9 see here that you're planning to investigate
10 relationships between PSS and so on. One of the major
11 criticisms of the EPRI simulator data was that I
12 believe they tried to come up with numbers,
13 probabilities of human error.

14 Are you going to do the same? I do like
15 this testing of hypothesis and the relationships. In
16 other words, the structural part -- maybe the
17 simulators will be extremely valuable there. Are you
18 planning to go all the way to the numbers or stop
19 short of that and switch to modeling?

20 MR. HALLBERT: The numbers that we
21 generated in this study were used for modeling,
22 developing a predicted model and evaluating or at
23 least starting some preliminary thinking on what you
24 could do next with it, but with the notion in mind of
25 trying to better understand the context in which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 performance shaping factors drive performance and why
2 that is to better inform human reliability analysis.
3 Then also, with the notion or the question of if I
4 have established a relationship between performance
5 shaping factors and performance, what will it take me
6 to establish a relationship between these same things
7 in error?

8 MR. SIU: I'll take a whack at it also
9 George.

10 My guess is that we could conceivably
11 generate numbers or a limited number of situations, of
12 course, where the error force in context is strong;
13 therefore, the error probability is high enough that
14 you're going to get observations. There will be other
15 places where we will have to rely on modeling. That's
16 where having these more fundamental relationships
17 between say PSFs and error would be helpful.

18 MR. APOSTOLAKIS: I like that. I think
19 that's a good idea.

20 MR. HALLBERT: So if we could jump ahead
21 to the next slide then. Is it my understanding that
22 you want me to finish my talk in five minutes then?

23 MR. POWERS: Yes.

24 (Laughter.)

25 MR. POWERS: No. We want you to take

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 whatever time you need to finish your talk. The
2 committee is used to working long and late hours and
3 what not. They're tough. I'm not worried about them.
4 I'm worried about the speaker.

5 MR. HALLBERT: All right. I appreciate
6 your concern.

7 So, I will then move on to the portion of
8 the presentation and provide some background to the
9 particular setting in which the human factors research
10 was conducted. And that was for a study of control
11 room staffing levels for advanced reactors. That's
12 the title of the NUREG that you see referenced at the
13 bottom of the slide. It's NUREG/IA-0137, published in
14 2000.

15 MR. APOSTOLAKIS: What does "IA" mean?

16 MR. HALLBERT: International agreement.

17 MR. POWERS: Didn't the committee get
18 copies of this?

19 MR. APOSTOLAKIS: I don't remember seeing
20 that.

21 MR. POWERS: I mean I know I got copies.

22 MR. HALLBERT: The Nuclear Regulatory
23 Commission had received submittals from several
24 advanced reactor plant vendors. These included the AP
25 600, the GES-BWR, the ABB plant, and the Cando 3

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 plant.

2 In these submittals, there was some
3 variability in the proposed changes for control room
4 staffing. That put the issue squarely in the area of
5 10 CFS 50.54 (m) and changes.

6 The vendors sited improvements in ease of
7 performance through primarily passive system design
8 and automation as being the primary reasons for
9 requiring a reduced main control room staffing
10 compliment. Some of the pictures in there showed one
11 reactor operator overseeing several plants. Most of
12 them showed a crew, like a modern crew, in a plant
13 control room.

14 The issue then became one of trying to
15 better understand the performance implications of
16 staffing and advanced plant performance because it
17 wasn't simply a matter of changing a control room,
18 going from a conventional control room to an advanced
19 control room. You were also introducing greater
20 automation and passive system performance.

21 So, we set out to conduct a study of
22 control room crew performance, recognizing that in
23 order to do so, we would have to establish an advanced
24 and conventional plant benchmarks. And by that, we
25 were concerned very much with the notion of crew

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 staffing and what would be the appropriate references
2 for different staffing compliments as well as
3 thermohydraulic performance and automation.

4 We developed a range of design basis
5 scenarios, including two involving loss of tools and
6 accident, that were a steam generated tube rupture and
7 an interfacing system where sequence V ISLOCA --

8 MR. APOSTOLAKIS: Is ISLOCA a design
9 basis?

10 MR. HALLBERT: It's a sequence V in a PRA.

11 MR. APOSTOLAKIS: But it's not a design
12 basis.

13 MR. POWERS: No, it's not.

14 MR. HALLBERT: Okay.

15 There was a loss of feed water, a loss of
16 oxide power, and a stem generator overfill. So, we
17 had undercooling as well as overcooling transients
18 representative as well too.

19 The thermohydraulic performance reference
20 benchmarks, we obtained from previously funded NRC
21 research identified in NUREG Contract Report 4966,
22 which looked at a variety of different transients,
23 overheating and overcooling and LOCAs on BNW,
24 combustion engineering, and Westinghouse plants.

25 For the staffing configurations, we looked

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 at two different staffing configurations: a normal
2 and a minimum staffing configuration. This whole
3 study was carried out at two different simulator
4 facilities. One was at the Loviisa Nuclear Power
5 Station Training Facility in Loviisa, Finland, and the
6 other was carried out in the Halden Human Machine
7 Laboratory in Halden, Norway, which represented the
8 advanced plant.

9 Next slide. In the next two slides, I'll
10 go into some of the particular of the study. I think
11 I've talked about these a little bit earlier.

12 For the phase of this study that was
13 carried out at Loviisa, we looked at the
14 thermalhydraulic performance at the Loviisa Nuclear
15 Power Station to the simulator transients under
16 consideration here. And we recognized, as you might
17 well expected, that there were differences in the
18 plant performance compared with western plants.

19 Primarily, the Loviisa plant had longer
20 time constants for the overcooling and overheating
21 scenarios than the western plants. They have 16
22 generators with larger inventories and capacities so
23 they respond a little more slowly to some of these
24 accidents.

25 What we did was we worked with the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 simulator facility staff to modify the simulator from
2 a hydraulic performance to bring it into the range
3 that was more consistent with US plant performance for
4 those same simulator transients. As you might well
5 suspect, that would introduce a confound in the
6 experimental design. So, we then also had to
7 compensate for that by giving the operators additional
8 training prior to participating in the study in
9 Loviisa, Finland, and getting them to a similar level
10 of performance since they would experience otherwise.

11 The crews in this study operate as crews
12 in the plant. We didn't pull together people from
13 different shifts based upon availability. We designed
14 our study around the availability of crews as crews.
15 We wanted to have actual performing crews.

16 As I mentioned to you earlier, we also
17 evaluated the training programs and their control room
18 staffing compliments and found them to be equivalent
19 to what we saw in US plants for those features. The
20 thing I didn't have a chance yet to touch upon was the
21 procedures. I'd like to address that now.

22 In discussions with the Loviisa plant
23 staff, we reviewed their emergency operating
24 procedures. And I hope I represent this correctly,
25 but I believe that they had a previous project or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 contract with a western vendor, a US vendor, and had
2 undergone the development of symptom-based procedures
3 at their plant. When we came there, the procedures
4 had been transitioned and their staff had been
5 qualified and licensed to these new EOPs. They were
6 in fact symptom-based, function-oriented EOPs.

7 In terms of the crew staffing compliments,
8 at Loviisa, a normal sized crew represented four
9 control room personnel, and the minimum crew
10 represented three control room personnel for the
11 study.

12 Next slide please. For the Halden study
13 phase, we used a simulation of the Loviisa Nuclear
14 Power Station process. So, the simulated plant at
15 Halden was based upon the Loviisa Nuclear Power
16 Station with added automation to simulate passive
17 system performance.

18 Where we got the ideas for the automation
19 were from the advanced reactor submittals. For
20 example, Westinghouse had identified what the main
21 differences were between the current generation
22 Westinghouse and the future AP 600 in terms of passive
23 system features. We tried to simulate those things in
24 Halden through added automation, giving to the
25 operators the look and feel of this passive system.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The other main feature about this
2 simulated working environment was that the main
3 control room at Halden was completely digital. The
4 features that were selected for the main control room
5 in Halden basically came from the advanced reactor
6 Digital I&C submittals. So, it had a common process
7 overview display, which is shown here in the middle,
8 that both of the panel operators would share, which
9 provided an overview of the process.

10 They each had a dedicated set of alarm
11 displays that were digital. They had a set of process
12 displays in selectable computers down here, selectable
13 workstations, so they could bring up different parts
14 of the plant. They could bring up different graphics
15 for displaying information about the process and other
16 selectable features.

17 Finally, in the center, they had a common
18 safety parameter of display systems. This shows that
19 portion of the laboratory that was configured for the
20 reactor operator or the balance-of-plant operator.
21 There was also, for the configurations in which there
22 was a control room supervisor and a shift technical
23 advisor, a set of displays back there for those
24 people.

25 For the normal crew in the advanced plant

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 setting, similar to at Loviisa, the normal crew
2 configuration was four operators. The minimum crew at
3 Halden was two operators. Because we have the need to
4 maintain the same division of labor though, what that
5 meant was that in some cases in the two-person
6 configuration, one of the operators would be a dual
7 role: operator/control room supervisor.

8 Next slide please. Observing that it's
9 five past twelve, do you want me to continue?

10 MR. POWERS: You just go right ahead.

11 MR. HALLBERT: Okay.

12 MR. POWERS: I want to get this as a
13 package.

14 MR. HALLBERT: All right.

15 Eight crews of licensed reactor operators
16 and control room supervisors, senior reactor
17 operators, participated in the study. Each crew
18 experienced the five scenarios in different orders to
19 handle counterbalancing effects. Four crews served in
20 the normal and four crews served in the minimum
21 staffing configurations.

22 MR. KRESS: Are these eight different
23 crews?

24 MR. HALLBERT: These are eight different
25 crews. And in the NUREG, it shows a layout of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 experimental design as well too.

2 MR. POWERS: So I should see four data
3 points on every plot, right?

4 MR. HALLBERT: Unless they're aggregated.
5 That's true. Yes, that's what you'll see on some of
6 the plots back here.

7 I'd like to talk a little about the social
8 science underpinnings of the research now in terms of
9 the data that we collected.

10 We collected data on a number of
11 subjective performance measures. We were concerned,
12 first and foremost, about changes in control room
13 workload. In other words, the workload that the
14 individual operators and the control room crew as a
15 whole would experience as a result of changes in
16 control room staffing. In other words, if the plants
17 are fundamentally different and there are fewer things
18 for control room operators to do, then you would
19 expect to see differences in workload. So, we looked
20 at workload and we measured that using the NASA
21 Taskload Index measurement technique.

22 We were also interested fundamentally in
23 what would happen to team performance. What we mean
24 by that is what would happen to leadership
25 characteristics in the main control room. What would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 happen to communication with fewer people and the same
2 demands? What would happen to the focus on the task
3 and the mitigation activities at hand, the esprit-de
4 corps and things like that?

5 So, there was a measure technique called
6 BARS, which is an acronym for the Behaviorally
7 Anchored Rating Scales. That's also described in the
8 NUREG as are all of these. That measurement technique
9 taps into these team interactions.

10 Finally, we were also interested in the
11 subjective measure of situation awareness. You've
12 probably heard situation awareness discussed in the
13 aviation industry quite a bit. That's where it was
14 originally studied. What situation awareness refers
15 to is primarily how well an operator understands
16 what's going on around him or her in the plant.

17 MR. POWERS: Situation awareness is
18 something the committee is fairly familiar with
19 because it's a primary thing in the power upgrade
20 issues.

21 MR. HALLBERT: Yes, it's very important.

22 There has been considerable research
23 showing linkage between situation awareness and
24 performance in the aviation industries. So, we had a
25 measurement technique that was developed specifically

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to measure control room operator situation awareness.
2 We were interested in what would happen there.

3 I want to also say that prior to this
4 time, there really hadn't been any data collected on
5 these kinds of measures in control room crews. So
6 part of the study was also to gather a baseline of
7 data of what happens to situation awareness, workload,
8 and team performance during these kinds of scenarios.
9 Not just under the study, but what happens to these
10 things during the course of a transient.

11 We were also interested in objective
12 performance, how well the crews managed the burdens of
13 announcements, notifications, communications, for
14 example, how well they perform their critical
15 mitigation activities, and how well they've managed
16 the longer activities of stabilization and cool down
17 of the plant. These scenarios were obviously fairly
18 long, ranging from an hour and a half to two hours in
19 length. So, we looked at objective performance
20 measures as well.

21 MR. POWERS: Let me ask you a question.
22 You ran a scenario for an hour and a half?

23 MR. HALLBERT: Yes.

24 MR. POWERS: You say, "Okay team, we're
25 going to start", run it, and then they know when it's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 over. But the reality is a control room operator sits
2 there for an average of six hours and then there's an
3 event and it's over.

4 MR. HALLBERT: Yes.

5 MR. POWERS: How does that factor that you
6 don't have that lead in six hours affect performance?

7 MR. HALLBERT: Well, we knew for example
8 that bringing these crews into the simulator with us
9 foreign staff there was going to raise some expectancy
10 on their part, so we told them what we were doing. We
11 had a briefing package. That was necessary not only
12 for this kind of research, but it was necessary for
13 informed consent.

14 But what we did to address that concern
15 was that all these scenarios typically began with a
16 period of normal activity. We didn't want them to be
17 conditioned to the fact that 15 minutes after we start
18 this scenario, there's going to be something go wrong.

19 So these normal periods, for example,
20 were load following or a perched control rod or
21 something going on with the balance of plant, some
22 sort of normal evolution. But typically it would last
23 anywhere from 15 minutes to an hour or so to try to
24 get them to relax a little bit and off edge.

25 MR. ROSEN: Then the scenario would start?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HALLBERT: Then the scenario would
2 start, then the transient would be introduced.

3 MR. POWERS: But for some reason, you
4 thought 15 minutes to an hour was enough to simulate
5 six hours or nine hours or twelve hours?

6 MR. HALLBERT: We relied upon the training
7 staff at Loviisa to guide us in that kind of
8 determination. We asked them, how much is enough to
9 try to get them off the edge of their seats, and try
10 to memorize their displays.

11 MR. POWERS: Somebody must have looked at
12 this because it's the same problem you have in
13 simulators every place.

14 MR. HALLBERT: It's like for re-
15 qualifications I imagine. I mean you come to a
16 training simulator expecting to learn some new thing,
17 but also you expect to be challenged I suppose. So
18 yes, that was an issue.

19 Let me also mentioned that this is what's
20 referred to as repeated measures, experimental design
21 in the sense that we collected data on these measures
22 up here throughout the scenario. I'll show that
23 starting on the next slide.

24 Next slide please. This is the part where
25 I'll have to get up here and talk a bit. I'm going to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 talk a little bit about the results now in terms of
2 their basic value to the staffing study and also try
3 to illustrate some of the connection points with the
4 issues of human reliability.

5 I want to explain, starting off with this
6 graph up here, what it refers to and what it
7 represents. This graph is a plot of workload that was
8 measured throughout the scenario. Across the bottom
9 her you see the scenario periods. This is an average
10 plot across all scenarios. It shows average workload
11 as it was experienced by the operating crews in this
12 entire study. It's a generalized or normative kind of
13 graph of what happens to workload during these
14 transients.

15 As I mentioning, during the first scenario
16 period, crews were conducting some kind of normal
17 activity, normal evolution in the control room
18 together with staff in the plant. We simulated plan
19 personnel outside the control room to make these
20 scenarios very realistic as well too.

21 Between scenario period one and scenario
22 period two, the transient or transients were
23 introduced. Then the scenario progressed for the
24 duration of the particular scenario at hand here, this
25 period out here at number five being a representation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of time at the end of the scenario.

2 MR. ROSEN: What is the "Y" axis, a
3 percent or what are the units of it?

4 MR. HALLBERT: This is measured workload.
5 The NASA TLX Inventory measures workload on a scale
6 from 0 to 100. And so, this shows that the crews on
7 the average, their average workload during normal
8 operation was rated as 25 out of 100.

9 MR. ROSEN: Where the 100 would be like
10 running around like ants in a hive, going as fast as
11 they can in every direction?

12 MR. HALLBERT: Something like that. Yes,
13 I'm sure that would be the highest workload you could
14 imagine.

15 What we see in here is that workload
16 increased substantially from baseline operations
17 during the disturbed phase of this scenario. A couple
18 of things are worth discussing about this graph here.

19 The first is that it shows what happens to
20 operator workload during these transients. The second
21 thing is that the National Research Council has
22 studied for the Department of Defense the issue of
23 workload transition and workload in general and have
24 identified a couple of concerns.

25 MR. KRESS: How did you measure this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 workload? I'm not familiar with this index. Did you
2 have the measure of his metabolism rate or did you ask
3 him how busy he was? Is this subjective?

4 MR. HALLBERT: It's subjective. There is
5 a standardized technique, a standardized psychological
6 measurement technique, and it's called the NASA TLX
7 because NASA developed it. It refers to taskload
8 index. And, there's a standard set of instructions
9 and a standard form for measuring. The taskload index
10 is also described in that NUREG. It's shown in the
11 appendix in the back there.

12 MR. KRESS: Okay.

13 MR. HALLBERT: But it taps into a number
14 of relevant workload factors such as temporal demand,
15 physical demand, mental demand, and things like that.

16 MR. KRESS: But you or someone like you
17 sat there and filled in the numbers?

18 MR. HALLBERT: No, we didn't. What we
19 would do is -- and that's a good question because it
20 gets to something that I glossed over in here. What
21 we did was at certain phases of the scenario, we would
22 pause the simulator and we would administer these
23 instruments. Then the operators themselves would rate
24 their workload during that scenario period. Good
25 question.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KRESS: For a given scenario, you
2 probably could've decided on what the workload was
3 ahead of time.

4 MR. HALLBERT: Well, there was a shadow
5 study in this research, as Jay mentioned, on
6 simulating operator performance. We developed a
7 simulation of operator performance that predicted
8 workloads using some predictive techniques. In
9 general, those correlated well with the workload the
10 operator experienced I think, if I recall that study.

11 Getting back to this performance curve
12 here, the National Research Council identified two
13 primary concerns of workload. One is it's acute
14 effect in what they call workload transition. That's
15 illustrated here in the change of workload from time
16 period one to time period two. The concern is that
17 during periods of workload transition, errors are
18 likely.

19 The other concern that was identified and
20 has been identified in the open psychological
21 literature are the chronic effects of the workload.
22 In other words, we know that experts such as licensed
23 reactor operators are able to mask performance of a
24 situation even under situations of high demand and
25 high stress for a period of time. But that overtime,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those high demands place burden and stress upon the
2 humans in the control room and at some point out here,
3 performance degradations are more likely.

4 MR. KRESS: Is this a linear time scale?

5 MR. HALLBERT: This is a linear time
6 scale, yes.

7 MR. SIU: Each of those are equal time?

8 MR. HALLBERT: Pretty equal, yes.

9 MR. SIEBER: Did you measure error rate?

10 MR. HALLBERT: We did not in the study
11 because -- the main purpose of this study was not to
12 focus on the errors. It was focusing on performance
13 and control rooms and trying to evaluate the issue of
14 staffing. We did not study error per say.

15 MR. SIEBER: I would've thought that
16 would've been a key element to decide what size crew
17 you would apply to what kind of a reactor.

18 MR. HALLBERT: No, we --

19 MR. SIEBER: Because if you don't have
20 enough operators, you're going to make a lot of
21 mistakes.

22 MR. HALLBERT: No, we didn't.

23 But, we measured something else, which
24 was their performance in mitigating the transients.
25 What we believed was that their ability to manage all

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the responsibilities in the control room including
2 announcements, notifications, activations of fire
3 departments, emergency operations centers, all those
4 kinds of things, would eventually show up as an
5 effective reduce in the crew size. The hypothesis
6 being that crews with a normal size would be able to
7 be better managed objective performance than smaller
8 crew size, all other things being equal. But, we know
9 they weren't because there was also automation and
10 passivity in the advanced plants.

11 MR. SIEBER: Thank you.

12 MR. HALLBERT: I'd like to talk now about
13 the other subjective performance here on the graph,
14 which was situation awareness.

15 Up to this point, we hadn't really had a
16 good baseline of measurement of situation awareness on
17 control room operators. What we found was that
18 similar to the graph here for workload, compliments
19 sort of occurred or the reverse sort of occurred to
20 situation awareness. As workload was going up,
21 situation awareness was going down.

22 MR. POWERS: What I don't quite understand
23 on all these plots is if four crews do this --

24 MR. HALLBERT: Eight crews all together.

25 MR. POWERS: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HALLBERT: Representing something like
2 40 operators or something like that.

3 MR. POWERS: Each one of those points
4 should have unless -- I mean the remarkable thing,
5 everybody was identical here. I can't imagine.

6 MR. HALLBERT: This is averaged.

7 MR. POWERS: If it's averaged, then can
8 you give me some idea of what the variance was in that
9 average?

10 MR. HALLBERT: Yes, there were a number of
11 interesting findings about the variance itself, which
12 is almost the subject of a separate discussion.

13 In fact, that is shown in the report.
14 There were significant variations in situation
15 awareness as a function of conventional verses
16 advanced and minimal verses normal crew staff and
17 sizes. There were some significant variations there
18 that contributed to the main findings.

19 MR. POWERS: If I go to interrupt these
20 results, what do I communicate to the HRA folks about
21 this? Do I just give them the means or do I use the
22 means and the variance to compute 95 percentiles or
23 something like that? I mean what number do I actually
24 use?

25 MR. HALLBERT: I think, if you're asking

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 me if I were communicating to another HRA person, --
2 and I consider myself to be an HRA person -- I would
3 say when I look at these results, I see some general
4 trends that are relevant during a scenario. And that
5 is that, after the onset of a scenario, the crews are
6 required to make decisions that require high degrees
7 of situation awareness. If there was a higher degree
8 of likelihood in making those decisions or making a
9 decision, they're at greater risk for an error.

10 The other thing is that even though the
11 recovery of situation awareness approximates its loss,
12 the recovery is invariant. Factors at the end of the
13 scenario are factors that the crews in fact themselves
14 introduce. So, we weren't doing things out here. The
15 manipulations we made to the scenarios typically ended
16 somewhere right around in here or so.

17 MR. POWERS: Right.

18 MR. HALLBERT: So, losses in situation
19 awareness here were not due to anything that we had
20 done. These were due to things that the crews had
21 done themselves. So they, in some way, lost control
22 of the situation maybe to some respect and didn't have
23 good situation awareness at the end of the scenario.
24 And, there are still critical decisions out there to
25 be made.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The other thing that I would say, and it
2 gets into the subject of PSS, there are some important
3 scenario specific differences in situation awareness.
4 I don't have a graphing here. It's in the NUREG.
5 But, we did find differences in situation awareness
6 between what we described as rule-based scenarios
7 verses knowledge-based scenarios. That's using a term
8 coined by Jens Rasmussen, a researcher in this area.

9 What he posited, that process control was
10 achieved through a variety of different situations
11 based upon the degree to which they were readily
12 established rules available for operators to follow
13 such as procedures, matching the situation exactly
14 verses situations in which a high degree of
15 interpretation was required on how to apply those
16 procedures, being more of a knowledge-based kind of a
17 scenario and other things like that.

18 MR. ROSEN: Now you've got me confused
19 because you told us earlier that these operators were
20 using symptom-oriented procedures.

21 MR. HALLBERT: That's correct.

22 MR. ROSEN: Which you do not need to know
23 the situation in great detail at least early on.

24 MR. HALLBERT: You don't require diagnosis
25 to select the appropriate final procedure. In other

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 words, you can maintain your critical safety functions
2 using the symptom-based procedures. But eventually,
3 for every procedure, you have to transition out to the
4 appropriate -- what's it called, recovery procedure?

5 MR. ROSEN: No contest. I agree with you.

6 MR. HALLBERT: Okay.

7 MR. ROSEN: But in the early phases, maybe
8 on the left hand side of your curve, situation
9 awareness is not all that important. He's following
10 his symptom-oriented procedures. He looks at the
11 symptoms and takes the actions that the symptoms
12 require.

13 MR. HALLBERT: There may be some decisions
14 required early in a scenario as to what systems to use
15 and in what ways depending upon the ways in which
16 systems fail.

17 I'll use an example of a loss of feed
18 water. You lost the main feed water pumps and now you
19 have to use your auxiliary feed water system. Well,
20 if there are certain malfunctions or certain systems
21 out of service that complicate that decision, you do
22 have to have good situation awareness in order to make
23 a decision about how to recover those systems.

24 MR. KRESS: This point 7, is it good or
25 bad awareness? Is it an A, B, C, or D?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HALLBERT: I don't know. I'll be
2 honest with you, this was the first time that we have
3 collected data on these kinds of performance metrics.
4 We did it for the purpose of this specific study, but
5 I don't know that we really know how much situation
6 awareness is enough.

7 What I can tell you though, is that when
8 you get down to levels of point 5 that's situation
9 awareness. And that means that your ability to
10 understand what's going on in the plant with regard to
11 all your systems is about half right and about half
12 wrong.

13 MR. KRESS: Fifty-fifty chance.

14 MR. HALLBERT: Fifty-fifty. And when you
15 start dropping below that, there are some --

16 MR. APOSTOLAKIS: Overall, did all the
17 crews exhibit specific behavior?

18 MR. HALLBERT: Overall on an average, the
19 answer is "yes". This is the average. The specific
20 question, did every crew experience it this way? I
21 would have to go back and look at that data, George.
22 There were some transient specific differences like I
23 said.

24 MR. WALLIS: All this is fascinating but
25 I don't know what it has to do with regulating nuclear

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reactors. It's very interesting but I don't know what
2 to make of it if there's no hypothesis being tested or
3 anything.

4 MR. HALLBERT: The particular issue under
5 study here was what would happen to control room crew
6 performance if you were to make changes to main
7 control room staffing as well as made a transition to
8 these advanced reactors.

9 Our purpose in conducting this was to
10 provide a technical basis to the Office of Research to
11 supply to NRR in making decisions about what
12 information would you require of a licensee to show
13 that performance was adequate in this new situation,
14 as an example.

15 MR. WALLIS: This must be dependent on all
16 kinds of things, all kinds of scenarios, or all kinds
17 of stuff. So to get anything as generalized as a lot
18 of this must be very difficult unless you have a big
19 database or some good hypotheses or something.

20 MR. HALLBERT: Well, in terms of the
21 actual reference values for how much situation
22 awareness you need to have in a new system, you're
23 right. We don't have that number yet. We haven't
24 published it. We haven't really even thought about
25 it. But in terms of looking at the implications of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this research, there was some generalized findings
2 from it. Again, that's described in the NUREG.

3 My point here was to try to show that in
4 this research there were some connection points
5 between operator performance and the general issue of
6 human reliability. That being that there are
7 situations in here in which performance will degrade.
8 And those situations can be studied to extract
9 information.

10 Next slide. Another question we had was
11 how well do these performance methods, the subjective
12 performance metrics correlate with their objective
13 performance. So we looked in a few areas and here,
14 Dana, is one of your eight point graphs that you were
15 saying you would expect.

16 What we found in one set of analyses when
17 we measured team performance, how well they
18 communicated/interacted as a crew, the trends there
19 paralleled their objective performance in managing the
20 transient. So indeed, that factor of team performance
21 appears to be a vital one for controlling and managing
22 the transients. We found that also out in the study
23 here.

24 Again, the implication being for HRA, that
25 if you start doing things that affect the ways the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 crews work, like you were talking about earlier,
2 people and crews that don't normally perform in crews
3 and things like that, those implications need to be
4 thought of because there may be attendant affects on
5 preponderability to manage these kinds of transients.

6 Next slide.

7 MR. SIEBER: One second.

8 MR. HALLBERT: Yes.

9 MR. SIEBER: Both of those plots cross,
10 and it appears that in the advanced plant you're
11 better off with a smaller crew.

12 MR. HALLBERT: There were some significant
13 interactions in the study here. What we found was
14 that, in this particular case, the minimum crew in the
15 conventional plant did not perform as well as a normal
16 size crew.

17 If you could imagine, for example, in a
18 normal size plant, it's designed for a larger sized
19 crew. When you go to an advanced plant that has a
20 more compact control room and it has more design
21 features for a small sized crew, their performance was
22 as good as the normal size crew and better in many
23 instances.

24 Next slide please. I'm going to talk now
25 about the embedded study that was carried out within

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this larger study on control room staffing in advanced
2 plants. I talked about it earlier.

3 The intent here was to collect data on
4 operator performance and performance shaping factors.
5 Performance shaping factors, as most of you are
6 probably familiar, is a term and concept that's used
7 frequently in many human reliability analysis methods.
8 The way that it's often used is that there's often
9 times a nominal or assumed human error probability for
10 a certain kind of action, and that nominal human error
11 probability is modified for the effects of certain
12 performance shaping factors. This includes things
13 such as training procedures, human machine interface
14 experience, and things like that of the crew.

15 So, there is and always has been for as
16 long as these two concepts have been around, some
17 intuitive linkage between performance shaping factors
18 and operator performance. I think Alan Swain
19 described the linkage very well in NUREG 1472.

20 As a whole, the types of PSFs and their
21 affects on error rates vary quite significantly among
22 the HRA methods that are out there. If you look at
23 them, you'll see that the effect on HEPs vary
24 significantly.

25 The way that these effects are assessed is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 currently that they are estimated. Analysts or a
2 group of analysts will sit down and will say: how
3 much credit do we give the operators for having good
4 procedures in this scenario, or how much do we credit
5 them for their experience and training. As a result,
6 there is a fair amount of uncertainty really in the
7 effects of these PSFs on human error probability.

8 So, my belief was that there was a need
9 for a better benchmarking and understanding of
10 performance shaping factors with actual performance.
11 And if we had that linkage, we could build better
12 models of failure eventually.

13 Next slide. So the purpose of collecting
14 data about these performance shaping factors was to
15 explore how these things could support HRA, these
16 larger human factors studies.

17 The specific objectives were to identify
18 a set of performance shaping factors that were
19 predictive of crew performance, determine the relative
20 weighting of these factors to one another, develop or
21 demonstrate a general model in which these performance
22 shaping factors could be expressed one to another with
23 operator performance, measure the factors affecting
24 the predictive validity of these performance shaping
25 factors, and replicate the results.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KRESS: The performance shaping
2 factors were independent variables in this study.
3 Were they varied one at a time or several at a time?

4 MR. HALLBERT: No, I didn't do that. In
5 fact, what I was essentially doing was piggybacking on
6 the previous study that I mentioned. So, I took the
7 performance shaping factors --

8 MR. KRESS: I see. You took exactly what
9 was in there?

10 MR. HALLBERT: Yes, exactly how they came.
11 There were some good things to that and there were
12 some bad things to that. We can discuss that.

13 MR. KRESS: It relates to how you design
14 experiments?

15 MR. HALLBERT: Exactly. I mean ideally,
16 you'd like to measure one at a time then add a second
17 and maybe a third then maybe a fourth. But the
18 counterargument to that is you never have just one or
19 two or three. You have them all. So, I took them all
20 because that's what I had and that's what I was given.

21 Next slide please. This research really
22 started back in the middle 1980s when we had the
23 opportunity to collect data on performance shaping
24 factors as part of other studies. I mentioned NUREG
25 Contractor Report 4966. That's where that work was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 originally documented.

2 At the time, we developed an instrument to
3 measure performance shaping factors' affect upon
4 operator performance. Through analyses and reductions
5 in data, we identified that really seven of these ten
6 performance shaping factors really had some predictive
7 power, and that the other three really didn't seem to
8 matter to the crews.

9 MR. KRESS: What were the other three?

10 MR. HALLBERT: There in 1966, but I don't
11 recall them. Maybe even the way that they were
12 defined was vague. Not that they didn't have an
13 effect, but the way that we had defined them could've
14 been unclear to the crews.

15 The ones that did have effects and were
16 demonstrated through statistical analysis techniques
17 included aspects of procedures, training, stress,
18 workload, information available to the crew, the way
19 that the system provided feedback to the crew on their
20 actions, and the human machine interface in general.

21 MR. KRESS: Is time required to do an
22 action? Is that a performance shaping factor or is
23 that something else?

24 MR. HALLBERT: That was actually the
25 dependent measure.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KRESS: It's a dependent measure?

2 MR. HALLBERT: Yes.

3 MR. KRESS: How long it took him to
4 actually do the --

5 MR. HALLBERT: The important thing that
6 they had to do in that particular scenario was what we
7 actually measured. I'll explain how we did this just
8 a bit more here now.

9 We had a data collection instrument that
10 we developed to measure how the operators experienced
11 these performance shaping factors. In their own
12 terms, how they affected their ability to carry out
13 the critical mitigation tasks in a particular
14 scenario. We asked them to rate these performance
15 shaping factors just after the completion of a
16 transient, a scenario study if you will.

17 MR. KRESS: The instrument could be a form
18 that they fill out?

19 MR. HALLBERT: It was a form. That's
20 exactly what it was.

21 We asked them to consider each of these
22 performance shaping factors that we had discussed and
23 defined prior to their running the scenario. Then we
24 afterwards asked them to rate on a scale how these
25 things had influenced their ability to take the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 appropriate mitigation action, which was specifically
2 defined.

3 In the case, for example, the loss of feed
4 water, it was to restore the condensate booster pumps.
5 In the case of the LOCA, it was to isolate the hot lag
6 or something like that in a particular scenario.

7 After the simulator trials were done,
8 these operators rated the affects of the PSFs on their
9 performance of the critical mitigation tasks. The
10 data that I'm going to present today is essentially
11 the result of collecting data at different times with
12 different crews and different locations.

13 We had four crews in the US plant and
14 that's documented in this NUREG reference here. We
15 had four crews at Loviisa like I was just describing,
16 and then four crews at Halden. And, we had three
17 common scenarios: undercooling, overcooling, and a
18 loss of coolant scenario. Again, we had the
19 thermalhydraulic references for all these scenarios.
20 We thought they were comparable in nature.

21 Next slide please. The results are that
22 we used a linear model to assess the effects of the
23 performance shaping factors on operator performance.
24 Whereas I mentioned previously, the prediction of "Y"
25 in this formula here was the critical task mitigation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 performance time. When, after the initiation of the
2 scenario, were they able to complete their critical
3 mitigation task?

4 We collected data on these performance
5 shaping factors across these scenarios, crews, and
6 plants, and even countries I suppose. What we found
7 --

8 MR. POWERS: What does it mean when you
9 use a linear model like that with a constant term?
10 It becomes an adjustable parameter in this model.

11 MR. HALLBERT: It actually was empirically
12 driving. What we found was that -- and you'll be able
13 to see on the next graph, the next slide -- that
14 typically the prediction of performance would
15 intersect with the "Y" axis, and the effects of these
16 performance shaping factors were over and above, or
17 were around, that intersection point.

18 So let's say, for example, that the
19 average mitigation time was 18 minutes after the
20 initiation of the scenario. You could have the
21 intersection point being at 14 or 12 minutes. Then
22 the PSFs basically predicted up and around -- or the
23 weighting of these factors predicted up and around
24 that time.

25 What we found through these studies and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the data collection was that the linear model was
2 sensitive to scenario differences. And I'll show you
3 on another slide how we found that. It was sensitive
4 to plant differences, and it also demonstrated
5 predictive ability.

6 Next slide. I talked about being
7 sensitive to plant differences. Here is the sum total
8 aggregation of the normalized critical mitigation
9 times. These are the predicted values.

10 We see, overall, that the multiple
11 correlation in the multiple regression model here was
12 0.36. What that means is that about 14 percent of the
13 variability in the scatter of the actual mitigation
14 time can be predicted by that model.

15 MR. WALLIS: Now it's predicted based on
16 data? It isn't a prediction from something else?

17 MR. HALLBERT: It's a prediction from the
18 best fit of that linear model.

19 MR. WALLIS: So when you have a limited
20 amount of data and a number of coefficients, you're
21 going to predict something even if it's --

22 MR. POWERS: What he actually is looking
23 at is what fraction of the variance in the data can be
24 explained with this linear model?

25 MR. HALLBERT: And the unique contribution

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of the individual performance shaping factors is
2 measured through the beta weights.

3 So, this is all crews, all plants, all
4 scenarios. Fourteen percent of the variability was
5 explained through this linear model.

6 When you looked at just one plant for
7 example, all scenarios, the multiple correlation
8 coefficients were significantly higher. And, you
9 found the same result for all the other plants. So
10 what you see is that the predicted model has greater
11 predictive ability when looking at specific scenarios
12 as opposed to all scenarios. We went from explaining
13 14 percent of the variability up to about 47 percent
14 of the variability.

15 We found the same thing in plants. In
16 other words, the closer you got to specific scenarios
17 within a plant, the greater the predictive ability of
18 the model was. So this is suggesting something. It's
19 suggesting that individual differences and how
20 operators experience the scenarios is significant.
21 They are truly different. For example, an implication
22 of this might be that how would we recommend people
23 incorporate performance shaping factors into a
24 particular scenario.

25 Next slide.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. POWERS: What you're really saying is
2 that there's not a uniform PSF for every scenario,
3 that I just can't put a constant in there?

4 MR. HALLBERT: That's right, and it seems
5 to be different across plants.

6 MR. ROSEN: It doesn't seem to be that
7 surprising, does it? That operators would react
8 differently to undercooling than they would to
9 overcooling, that they would react differently to loss
10 of power? But within those three scenarios, that
11 operators would feel more challenged by undercooling
12 for instance.

13 MR. HALLBERT: Or more along the lines of
14 what aspects of their procedures and training and
15 other performance shaping factors contributed to their
16 ability to mitigate that transient, and how then in
17 the future to best incorporate those performance
18 shaping factors into the estimation of human error
19 probabilities.

20 Again, this is part of establishing a
21 technical basis for how performance shaping factors
22 should be addressed in an HRA.

23 MR. POWERS: Yes. I mean that's what he
24 is really -- he hasn't got anything definitive here,
25 but he's building an information base that's really

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 calling into question the way we do things now. As
2 George said, we do get smarter with time. It's not
3 always obvious we get smarter. All it says is life is
4 more complicated than we thought.

5 MR. APOSTOLAKIS: Let's not be unfair.
6 People do consider different performance shaping
7 factors for different scenarios in existing models.
8 And, it's nice to have confirmation of --

9 MR. POWERS: But see, what he's saying is
10 that if you take a specific performance shaping factor
11 and say it's affect is to double the time, that may be
12 true for one scenario, but it may not be true for
13 another scenario.

14 MR. SIU: That's right. Some HRA methods,
15 indeed, they do allow you to adjust and others they
16 don't. Now for guidance, it raises immediate
17 questions.

18 MR. APOSTOLAKIS: I mean you see more
19 clearly that --

20 MR. POWER: More pertinent is that he's
21 also demonstrating that you can actually get something
22 useful out of these studies, which is really excited.

23 MR. APOSTOLAKIS: I don't think anybody
24 else has done this, have they?

25 MR. HALLBERT: No, not anything like this.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I kind of combed the literature. Again, the reason
2 why it's been sort of a passion of mine over the years
3 has been because there is such apposity of information
4 about these things. The other things is that it
5 really is needed I believe.

6 MR. APOSTOLAKIS: So all we needed was a
7 passionate guy.

8 (Laughter.)

9 MR. POWERS: That's what's needed in
10 everything. I mean if you hadn't had runners cruising
11 down the mile, we would not understand anything about
12 the momentum of the equation.

13 MR. HALLBERT: I'm actually more
14 passionate about other things, but this is very
15 interesting.

16 The other thing that I wanted to mention
17 is that there would be some intrinsic value to not
18 only understanding about the performance shaping
19 factors' relationship on performance, but for example,
20 how important certain of these performance shaping
21 factors are in certain kinds of scenarios. Now I
22 haven't done that analysis yet. I'm interested in
23 looking at it, but I haven't done it yet.

24 For example, we talked about: are there
25 any properties that are unique to undercooling

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 scenarios that are demonstrated through these
2 performance shaping factors. I don't know. I don't
3 know yet.

4 MR. APOSTOLAKIS: So now you're really
5 creating the context within which the HRA modeler
6 would develop the models, the general shape of the
7 models. I think this is great.

8 MR. HALLBERT: Yes, hopefully. And even
9 eventually to provide some insights and better
10 guidance.

11 MR. POWERS: To be precise George, the
12 context with which they will evaluate the plethora of
13 models, we'll see if they're useful or not.

14 (Laughter.)

15 MR. HALLBERT: And perhaps even from a
16 regulatory perspective, eventually to be able to assess
17 the HRAs that are done and to find out whether all the
18 appropriate PSFs have been taken into account.

19 MR. POWERS: Yes.

20 MR. HALLBERT: And why they believe so or
21 not.

22 MR. POWERS: But let us not forget, if
23 you're seeing -- this is not unusual in this stage of
24 understanding to have a substantial amount of the
25 variance that remain unexplained.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HALLBERT: Yes.

2 MR. POWERS: It's terrible, but I happen
3 to know in a lot of physical fields that that's where
4 we start, with huge amounts of variance and
5 discovering where that increment of variance is --

6 MR. HALLBERT: Yes. I mean this to me is
7 very exciting because what you're describing is very
8 applicable to this stage right here. There has not
9 been a lot of data collection yet and it's very
10 informative.

11 MR. POWERS: From a statistical point of
12 view, the problem with your model and your procedures
13 is that what you're treating as well known variables
14 for themselves have a substantial amount of
15 uncertainty in there, and you've used a liner
16 regression analysis in which you're assuming that
17 those things are all precise. You shouldn't have done
18 that. But unfortunately, the regression algorithms
19 for the right way to do that are pretty hairy to work
20 with.

21 MR. HALLBERT: Yes, and also in the social
22 sciences, these liner regression models have been
23 shown to be fairly robust to certain violations of
24 assumptions and mathematical properties. So, we start
25 there and at least try to establish that there is a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 relationship and try to understand better the
2 appropriate models eventually.

3 MR. POWERS: Try a min-max routine against
4 this and see if it doesn't give you -- first of all,
5 it'll eliminate a certain amount of your variance.

6 MR. HALLBERT: Yes, min-max or stepwise
7 approaches. Good recommendation.

8 MR. APOSTOLAKIS: You should keep
9 everything in context. You're not producing a --

10 MR. POWERS: He's looking for a variance
11 that can be explained and what not. Now some of his
12 variance comes from the fact that his independent
13 variables are just themselves uncertain.

14 MR. HALLBERT: Thank you. I'll summarize
15 now the presentations of both the embedded study and
16 the overall point of my presentation.

17 First of all, in the embedded study --

18 MR. APOSTOLAKIS: Excuse me. Can you tell
19 also at some point what is the most important
20 performance shaping factor or the top three?

21 MR. HALLBERT: I hate to answer your
22 question this way, but we did some exploratory
23 analysis into the relationships among the performance
24 shaping factors, and we found some stability through
25 factor analytic reduction techniques. Essentially,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you could sort of define three overarching performance
2 shaping factors in the set of seven if you will.
3 Stress and workload basically comprised one factor
4 that we'll call demand or maybe even workload. But
5 they loaded negatively overall in these scenarios. So
6 what they did was they kind of worked against the
7 operator.

8 The other ones were procedures and
9 training, procedures and training loaded together.
10 And, that seemed to be best described as preparedness,
11 how well prepared they were to deal with the specific
12 demands of the transient.

13 The other three were information
14 available, system feedback, and the HMI, which is
15 probably best described as the HMI. So, features of
16 the control room design, features of the crews'
17 preparedness, and the control room systems designed
18 for the scenarios, as well as the crews own experience
19 of the transient and it's negative effect upon their
20 ability to match with the demands.

21 MR. APOSTOLAKIS: But is available time
22 and performance --

23 MR. HALLBERT: I didn't define -

24 MR. POWERS: He has taken that out of his
25 study because that's what he's measuring in "Y".

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HALLBERT: I agree with you.

2 MR. APOSTOLAKIS: If I have a task that
3 needs to be completed in 20 minutes verses another one
4 that's 42 minutes, should I asses the impact of the
5 time difference on these preparedness performance
6 shaping factors and then do my analysis, or do I have
7 guidance as to how the 20 minutes verses the 42
8 minutes will effect it? Should I go indirectly
9 through the three that you mentioned or it is from the
10 factor itself?

11 MR. HALLBERT: I don't know.

12 MR. APOSTOLAKIS: Again, I don't expect
13 you to have all the answers. But, these are the kinds
14 of questions I think that are important.

15 MR. HALLBERT: It's a limitation of the
16 approach that --

17 MR. POWERS: The way that he has done his
18 study, he can't really answer the question.

19 MR. APOSTOLAKIS: That's fine.

20 MR. POWERS: He didn't say you were wrong.
21 It just said, I have to look at a --

22 MR. APOSTOLAKIS: He would never say that
23 even if he thought it.

24 MR. POWERS: We will say that for him.

25 (Laughter.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. POWERS: I think we can move on.

2 MR. APOSTOLAKIS: These things are things
3 that we ultimately have to face in certain regulatory
4 actions.

5 MR. WALLIS: We have faced already. We
6 have some data.

7 MR. POWERS: I think we can congratulate
8 you on a pretty well defined study. I can quibble
9 with your data reduction techniques, but I know what
10 you're trying to do. I think it's interesting that
11 you're getting insights out of this thing, which is
12 all you can ask for right now. The actual
13 percentages, that will have to come with time.

14 MR. HALLBERT: Yes.

15 MR. POWERS: I think we can -- unless you
16 have some particular points you want to make here.

17 MR. HALLBERT: The think the final slide
18 was just essentially what I've already covered. To
19 date, there have been some studies conducted and there
20 is some data available right now. And, we're looking
21 through those sources of data to see what is relevant
22 for HRA.

23 New studies offer great promise because
24 whatever we learn from these other studies could be
25 taken into account for the design of future studies to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 collect specifically, HRA -- or these kinds of
2 questions from the outset that you're asking us today.

3 Then I kind of end up where I started,
4 which is that I believe these simulator studies are
5 valuable, and they provide useful data for HRA.

6 MR. POWERS: I would put a caveat on that.
7 I think simulator studies carefully designed, well
8 conceived, appropriately done, and cautiously used can
9 yield insights that perhaps give us an idea on what we
10 ought to be doing.

11 MR. ROSEN: Just like thermalhydraulics
12 studies.

13 MR. HALLBERT: I agree with those points
14 you just made.

15 MR. POWERS: I mean I think that's the
16 step that this committee has never seen, people coming
17 in and doing simulator studies very carefully, very
18 well designed with particular objectives. They may
19 well have done that, but we just have never seen it.

20 MR. APOSTOLAKIS: They keep it a secret.

21 MR. POWERS: Well, there's always a
22 problem when you present to this committee that
23 doesn't pretend to be specialists in this field. But
24 this was nice. You could understand it and what not.

25 What I would like to do now is quickly ask

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the members what kinds of topics they want to pursue
2 further in the discussions this afternoon. I think
3 we're done -- am I correct in thinking that we're
4 largely done with the formal presentations and now we
5 want to discuss what the research program is going to
6 be?

7 I myself very much want to go into this
8 topic that showed up on both Erasmia's slide and Jay's
9 slide called tools and tool development. I'd like to
10 understand what the objectives of tools are, what the
11 vision is, who those tools are for, what they're going
12 to look like. And I invite the other members to make
13 comments on what they want to talk about when we come
14 back from lunch.

15 MR. ROSEN: I'd like to talk about the
16 issues of organizational performance, safety culture,
17 and indicators.

18 MR. APOSTOLAKIS: Seconded. Also, in
19 addition to this, I would like to understand a little
20 better the development of the plants to develop an HRA
21 model that will actually give distribution. I mean is
22 there a conceptual design at this point or that kind
23 of thing? I know that it's still early.

24 MR. POWERS: You get the chance to name
25 your topic, not discuss your topic right now.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Graham, are there any other issues that
2 you'd like to pursue?

3 MR. WALLIS: Nothing more than yours that
4 really asked the questions so far. I'm an interloper
5 on this committee anyway.

6 MR. POWERS: You are never an interloper.
7 You are a very welcomed participant.

8 MR. WALLIS: This is a very tough area to
9 quantify. It's much tougher from the hydraulic. And
10 I don't quite know what tools could be useful and how
11 they would be validated. So, I've asked questions
12 like that already.

13 MR. POWERS: Dr. Kress?

14 MR. KRESS: No. I'm interested in it too.

15 MR. POWERS: Okay. Jay?

16 MR. PERSENSKY: I'm also interested in
17 tools and safety culture issues.

18 MR. POWERS: George?

19 MR. APOSTOLAKIS: Can I add one more?

20 MR. POWERS: Yes, you are unlimited to the
21 topics.

22 MR. APOSTOLAKIS: The view of existing
23 models and what plans there are to use them in the
24 development of your own model would be of great
25 interest to me.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WALLIS: What's the state of that?

2 MR. APOSTOLAKIS: Yes.

3 MR. WALLIS: You had those four operators
4 in so many situations or something. Now, that's an
5 interesting study. But there must have been a lot of
6 things like those before in some other context.

7 MR. POWERS: Well, as far as care of
8 design, this is one of the best I've ever seen.

9 MR. WALLIS: Like human performance in
10 flying airplanes.

11 MR. POWERS: Now let me interrogate our
12 speakers. What would you guys like to talk about this
13 afternoon?

14 MR. SIU: Actually before we get to that,
15 I think one point to make is that Bruce and Dave
16 Gertman have a flight and they to leave here by about
17 three o'clock. So, any questions that you have
18 relating to I think the last point -- well, I guess
19 you'll obviously have something to say about existing
20 models, but also if you wanted to talk about
21 experiments that would be good right after lunch to
22 make sure those get done.

23 MR. POWERS: Okay, the experiments right
24 after lunch.

25 Are there topics that you need to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 communicate? Recognize that our intention is to write
2 a letter that says here are the aspects of the
3 research program that we like and what not. So if
4 there are things that you think we need to understand
5 better, don't be shy about it.

6 MR. WALLIS: I have a question. We had
7 some very general presentations about the program then
8 we had something very specific from Bruce. There must
9 be other specifics that are going on that would
10 illustrate the generalities for me.

11 MS. LOIS: So then the intent was to give
12 you an overview of where the program has --

13 MR. WALLIS: But it seemed to be that we
14 went from one pole to the other.

15 MS. LOIS: But we hope that this will be
16 the beginning of probably several follow up meetings
17 with the committee to tell them in more detail. On
18 the things that we've done in detail -- I guess those
19 that are still in the planning stage, we're just
20 struggling with that, some things.

21 MR. WALLIS: In the case of
22 thermalhydraulics, we have some sort of big scheme of
23 needs and then we have the framework, which is codes,
24 and then we have individual projects fitting into the
25 codes. And because of an individual project, we've

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 got some kind of general scheme. What the code of
2 mechanism that --

3 MR. POWERS: The grand vision is what
4 you're talking about, and that's where I want to go
5 with the tool development and try to understand that
6 a little better in the grand scheme.

7 I think we are going to get an
8 opportunity to see the applications that showed up
9 frequently. I'm much more concerned right now about
10 the underlying technology we're developing that
11 supports all these applications, the PTS, and things
12 like that that are going on, and the strength of that
13 program. And, we'll discuss that.

14 In that case, I propose we go ahead and
15 break until 2:00.

16 (Whereupon, the committee recessed for
17 lunch at 1:00 p.m.)

18

19

20

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 A-F-T-E-R-N-O-O-N S-E-S-S-I-O-N

2 (2:02 p.m.)

3 MR. POWERS: Let's come back into session.

4 We concluded the last section by saying
5 here are the things that we want to talk about. It
6 looks to me like the topics, the big scheme of the
7 program, what we mean by tools, organization, safety
8 culture, indicators, development of HRA models, and
9 the view of existing models and the state of the art
10 are the topics.

11 It does not look like we are going to go
12 into any great detail further on data collection and
13 data manipulation and digest. Though, I will
14 emphasize to you the concluding talk on which we did
15 there was illuminating and gives us new insights on
16 the importance of various elements in the program
17 book, the human factors and HRA.

18 At this point, I'd like to understand
19 better the program, what's in place, what's in just
20 the planning stages, what we're trying to endorse here
21 exactly. Okay?

22 MR. SIU: Let me start off by saying that
23 we've asked John Forester and Dave Gertman to join us
24 at the side table. I hope they'll chime in with
25 comments as the discussion moves along. Of course,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Bruce Hallbert is sitting up front with us. And Dave
2 and Bruce, again, have to leave at about three
3 o'clock.

4 A number of questions have come up about
5 the vision of the program. I guess I'd like to get to
6 that a little bit. We tried this morning to give you
7 some sense of how we saw things. Obviously, it wasn't
8 detailed at all and it wasn't intended to be.

9 Let me start by saying that I think that
10 there are two aspects of vision. One is, if you will,
11 organizational, and one is technical. The
12 organizational vision is pretty much what you were
13 seeing this morning. We have needs presented to us
14 from other parts of the agency. From our
15 understanding of what's going on in other parts of the
16 agency, we try to our best to help address those needs
17 through the activities that we perform, which are
18 analyses, reviews, and developmental activities.

19 This seems trivial, but actually it's not
20 because this is one of the areas where we got good
21 comments from NRR in their review of our research
22 plan. They talked about the need for much more focus
23 or emphasis on issues like HRA guidance. We had it in
24 our original plan, but we hadn't perhaps put
25 sufficient emphasis on that. So, this is one place

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 where we think we're going to strengthen, to support
2 folks who are faced with particular applications.

3 MR. POWERS: What's your view? It seems
4 to me that there are two models for the support that
5 you could provide to the non-specialist in this area
6 that has needs.

7 One is that you can say, "Here is my
8 telephone. Anytime you need an HRA analysis, give me
9 a call and we'll get it done for you." Clearly,
10 that's the mode you operating in now and it may well
11 be the mode you have to operate in.

12 The other vision is to say I'll live that
13 way for a while, but eventually I want to have tools
14 in these guys hands so when they have an HRA question,
15 they can pull up this tool that will act like an
16 expert system, it'll walk them through the questions,
17 and they'll get their own answers.

18 MR. SIU: I don't know that we actually
19 fit into either model right now. I think what we
20 would like to do is more towards the second. Where we
21 are right now is actually, in the case of reactor
22 operations, NRR is doing the HRA reviews. We are not
23 doing HRA reviews.

24 What we haven't done, and NRR pointed
25 this out, is we haven't taken the results of our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 research over the years and boiled it down to
2 something that -- for example, a review of the use
3 when looking at an application. And by "use", it
4 doesn't mean necessarily redoing the analysis. You
5 might just say, "What are the questions I should be
6 asking?" These are things that I think in the short-
7 term we need to be working towards.

8 MR. CRONENBERG: This morning the power
9 uprates came up as an issue that the PRAs are coming
10 in saying that there's no effect on human performance
11 or little effect on the power uprates. Yet, they have
12 the study where one of the principle impacts was the
13 reduced operator time for reaction to accident
14 scenarios.

15 And so, we had the conflict there on one
16 -- it was a study, and then the licensees come in and
17 say there is no effect, and this committee had to
18 struggle with these types of issues in the last year
19 and a half on power upgrades.

20 Have you had any user needs from NRR to
21 answer questions like that or have you given them any
22 support? They are not risk informed, licensed
23 amendment requests. They are traditional licensed
24 amendment requests, so risk information is kind of
25 supplemental to those requests.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 But still, this committee has struggled
2 with conflicting -- and their gut feeling is
3 conflicting with what the licensee is telling them.

4

5 MR. SIU: And quite literally, we do not
6 have the user need to provide support there, at least
7 in the HRA realm.

8 Jay, I don't if you guys have been?

9 MR. PERSENSKY: Not specifically to that.
10 I mean the work that we were doing on the changes to
11 the operator action was in fact in part related to the
12 power uprates. In that, if it is a risk informed
13 submittal, there is a way of dealing with the risk
14 aspect of it. If it's not, we can still apply risk to
15 it. But the basis there was more to look at the level
16 of review.

17 As I understand it -- Dick was here
18 earlier, and he's been one of the people that I know
19 involved in that from NRR. Most of what they've been
20 looking at for the power uprates, they've actually
21 looked at simulator trials and requal trials and they
22 found that the actual error rates, not HEPs, but error
23 rates have been very low in that kind of a situation.
24 So, they've been basing their approvals on that.

25 I just saw Dick walk in if you want to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 follow up anything on that.

2 MR. POWERS: Well, let me follow it up
3 with a question here. In the course of this morning's
4 discussion, we had a variety of questions raised on
5 the adequacy of simulator data to reflect what goes on
6 in the actual plant. How does one take those
7 questions and look at the simulator trials with a
8 jaundiced eye?

9 MR. PERSENSKY: Some of the things that
10 you indicated were problems. For instance, bringing
11 in different people. Just like any other experimental
12 situation, especially when you're dealing with people,
13 you can do a very large, multi-variant experiment, but
14 the time and resources and ability to do that is very
15 limited.

16 From the standpoint of the situation that
17 we're talking about here for the uprates, it's their
18 plant, it's their operators operating primarily in
19 their mode of operation rather than separate modes of
20 operation. It's their normal mode. So that's what we
21 asked them to demonstrate. The whole point is being
22 able to demonstrate that they can do it with
23 sufficient cushion I believe.

24 MR. POWERS: The question I'm not asking
25 is, it's not a question of really power uprates. The

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 question is one of research and what Nathan said.
2 What kind of questions should we be arming these guys
3 to ask when they look at that information, and what
4 are we doing to develop those kind of questions?

5 Like I said, we came up with some
6 questions on the fidelity of simulators for actual
7 plant operations. I mean they're kind of a
8 qualitative sense so it be difficult to defend that as
9 proof. You just couldn't use that information at all.

10 It was just totally inapplicable based on the
11 discussions we've had, but it's enough of a question
12 that shouldn't the research program be addressing that
13 kind of question?

14 MR. SIU: Yes. And again, I think that
15 was the intent of the guidance task in various areas.
16 We would start relatively modestly in terms of taking
17 what we've learned to date and then trying to if not
18 make a formal guidance, at least provide some useful
19 information to users. And later on, of course, start
20 getting more formal in terms of guidance for specific
21 things.

22 Erasmia had mentioned the HRA standards
23 activity, for example, and we intend to play a more
24 active role in that activity.

25 MR. ROSEN: To refer to that comment that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I made earlier was to me, the way you would handle
2 that properly was it's just another performance
3 shaping factor. It's a crew performance shaping
4 factor. Whatever number you ascribe to the likelihood
5 that the crew performs successfully as it is
6 constituted normally, you modify that number with some
7 shaping factor. But a third of the time, the crew is
8 not going to be in its normal configuration.

9 MR. SIU: And research again, whichever
10 way they answer laws could provide a basis for
11 deciding when you can take a certain degree of credit
12 or under what conditions you can take a certain degree
13 of credit.

14 MR. POWERS: I think, I mean we've had
15 licensees, or in this case the applicants, come in and
16 say we go through THERP on this thing and we get
17 1/100, but when we look at our database we see it's
18 more like 1/1000. Could we go ahead and use 1/100 to
19 cover this? And Professor Wallis says, "How do you
20 know that factor 10 is good enough?" That's the
21 question that's really answered here in this guidance
22 program. The other guys he has downgraded his
23 information by a factor of 10. Yes, that's probably
24 more than enough or it's half of what he should've
25 been or something like that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I mean that's what you mean by "guidance",
2 how to ask a question and what kind of answer is a
3 reasonable answer. It will never be out to two
4 significant digits because every plant is different
5 and every environment is different and what they can
6 tolerate is different.

7 MR. FLACA: If I could just follow up with
8 a comment on that. When we look at a number though,
9 it really represents something. What's behind the
10 number, of course, is what's important: the
11 procedures, the framing, and so on, how likely the
12 event is going to occur, and what the operator is
13 going to be prepared for. So, I think it really
14 represents the way one thinks about it. I think
15 that's what George was saying before.

16 And the question is, as far as our
17 programs are concerned, do we have the infrastructure
18 to be able to think about these questions, and be able
19 to answer other questions that might evolve from the
20 pursuit of these changes that are going on out there?
21 Whether we have the tools and ability to do that I
22 think is very critical. If we don't have them, we're
23 only kidding ourselves. We're just not asking the
24 right questions. We don't know if we've got the right
25 answers.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 But in all that context, I think it's more
2 than just a quantification. It's really looking at
3 what that means in the context of what you're giving
4 credit for. If it's 1 in a 100, we expected than
5 there should be a certain level of backup, a technical
6 basis for that 1 in a 100. That comes down to doing
7 some analysis based on what procedures and so on is in
8 place. And, we need the tools to do that.

9 Now the question I guess is do we need
10 certain tools, do we need to develop new to come and
11 address new issues? One of them is the changes in
12 risk as we see them as plants are making changes.
13 Some of this is maybe due to manual actions verses
14 automatic actions or changing things in that way. And
15 how do we go about doing that, and do we have the
16 tools in place to do that?

17 Isn't that really the issue on the tools?
18 Again, I'm sorry. I came in a little late and I
19 didn't really hear the beginning of it.

20 MR. POWERS: Well, the issue in tools is
21 -- you certainly hit upon an important aspect on the
22 issue of tools. My particular interest is one of
23 vision of what the tools we want to look for -- not in
24 the next three years, but say in ten years - when we
25 actually get advanced plants coming in here to be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 certified, what kinds of HRA and HF tools do we have
2 available and for whom? Are they tools for the
3 specialists in these activities or are they tools for
4 the non-specialists in these areas.

5 MR. SIU: If I could just add to that
6 point. We were talking about organizational vision
7 and I think that was something that we had shared with
8 human factors. As we indicated earlier, PRA and human
9 factors provide different sets of tools for different
10 problems. Clearly, we have to address needs presented
11 to us by the agency users. From a technical vision
12 standpoint -- and this is where we're going to split
13 a little bit because we have different areas of
14 coverage, different domains. On the HRA side, if you
15 want to talk about a very long-term vision -- and it
16 may not be all that long-term. I hate to think of 15
17 years out. Five years is kind of our current planning
18 horizon now. I think it's reasonable to hope that we
19 will have a common high level HRA model.

20 I think there's reason to believe that we
21 can get there. When you listen to different
22 developers talk about what they're doing, the concepts
23 they're using are very similar. We have differences
24 in terminology. We have some differences in scalp of
25 particular modeling elements, but they all share very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 similar features.

2 Furthermore, I believe that there's a
3 sense at least in a good numbers of members of the
4 community that there is a need to drive towards some
5 sort of common goal.

6 MR. POWERS: When you say "common model",
7 you mean common with the agency or common within our
8 nuclear community?

9 MR. SIU: Within the HRA community, at
10 least the ones that perform assessments for nuclear
11 power plants and similar facilities.

12 So, we would like to work towards that.
13 That gets to George's point about knowing what others
14 are doing. We're trying to go beyond that. We're
15 trying to work with these others to develop this
16 common high level model.

17 It's still a very high level description.
18 You're talking about the notion of, for example, the
19 importance of context and modeling the context
20 explicitly. You still have to get it drilled down to
21 what specific elements of context are you talking
22 about. For example, are you talking about it in a
23 static context, a dynamic context, and so forth?

24 My belief there is that, as now, in a few
25 years we will still need ranges of methods and tools.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Sometimes very simple tools are good enough for the
2 problem at hand, and sometimes you need a much more
3 sophisticated tool. Our job would not only be to
4 develop those tools, but also of course develop the
5 guidance of when do you use one tool verses another?

6 Again, if you want to talk in terms of
7 vision, this is I think where we might head.
8 Obviously, there's a notion of validation involved
9 here as well. And what Bruce talked about this
10 morning, point us in the direction that we're going to
11 start using -- we believe we're going to start using
12 existing data and we can start generating new data to
13 support at least some limited validation of these
14 models.

15 I think, as I indicated in one of my
16 answers to I think George's question, it's unlikely
17 that we'll be able to validate these models in all
18 performance areas. But at least for those areas where
19 we think we can collect data, by all means, we'll try
20 to do that.

21 Obviously as John Flaca indicated, we have
22 to have a capability to address emerging issues. So
23 the methods and tools that we're working towards now,
24 and we have a laundry list of those, we tried to
25 present those in that two-dimensional matrix. But

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we've also had a list of the issues and that appeared
2 in that paper that we distributed before the meeting.

3 So those are issues we recognize that we
4 have to deal with now, and we're trying to deal with.
5 Certainly, things come along the path that we haven't
6 anticipated, and we have to have the capability to
7 address those. So, that's kind of the high level
8 vision.

9 In terms of quantification in particular
10 -- again, the HRA involves qualitative and
11 quantitative aspects. On the quantitative side, we've
12 been talking internally for a while about the notion
13 of reference values, and perhaps interpolation schemes
14 can think of it conceptually. Once we've identified
15 what are the important factors, you define some sort
16 of phase space, and you can hopefully through
17 experiments or super sophisticated analysis develop
18 some reference points to use as a basis for some sort
19 of scheme to say what should the probability be in
20 another part of the phase space for which you don't
21 have those reference points.

22 So, that's conceptually a notion that I
23 think we're trying to pursue. You won't see much of
24 that in current discussions on quantification because
25 again, we were trying to make sure that we had a good

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 wrap-up of the expert elicitation process that we're
2 using in ATHENA. But there are some place in, I
3 think, the conference papers where we do take about
4 the notion of reference points.

5 So, again, that's the direction of where
6 we're heading. And I don't know if you wanted us to
7 through the laundry list of activities that we've got
8 to give you a sense of the breadth of applications and
9 the particular technical challenge areas that we think
10 we need to address.

11 MR. POWERS: I think your slides this
12 morning provided a pretty good inventory on your
13 current applications, and less of an inventory on
14 where you think you ought to be applying HRA. For
15 instance, we raised the issue of Option 2, if
16 replaced, that maybe there was a rule for HRA to
17 apply.

18 In some sense, I think that NRR generates
19 user needs based on their thinking about things. I'd
20 be equally interested in the user needs you think they
21 should be sending to you. Do you think there's a
22 richer field there that can be explored now, and is
23 there yet another even richer field once you have
24 these tools that you've been talking about?

25 MR. PERSENSKY: If I may, from my

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 perspective at least?

2 MR. POWERS: Sure.

3 MR. PERSENSKY: As far as the user needs
4 are concerned, most of the user needs are in fact
5 things that we as a staff talk about together. So,
6 it's not like we're over here. In fact, we need to
7 draw on their experience and the kinds of things that
8 come up in the application of what tools they
9 currently have and where those weaknesses might be.

10

11 On the other hand, similar to when I was
12 talking about the study we did on the ROP, we
13 indicated there that here are some things that we
14 think might be helpful. So, it's not that we're not
15 already doing that. It may not be to the extent that
16 you'd like to see it, but in fact we do have that
17 process in place and we talk a lot amongst ourselves
18 as far as how we address that.

19 As Nathan had indicated, there is somewhat
20 of a difference in what you might consider the vision
21 between HRA and human factors though they are very
22 related. He talk about guidance documents, and that's
23 what we do. But I've been envisioning and I've said
24 in the SECY that what we probably need is some sort of
25 toolbox. With current technology, we can move a lot

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of this stuff that we now have on paper and pencil
2 onto even something as simple as a palm pilot to take
3 inspection modules with various links to be able to
4 get into the technical basis.

5 So, it would be something that is useable
6 that addresses all of the various documents that are
7 out there right now. Human factors, as I said, is not
8 just vanishing interface. It has all those same
9 elements, elements that we talk about in terms of PSFs
10 for instance or context.

11 So, there's that aspect of building
12 something. The vision is trying to put everything
13 into one place so that you don't have to carry around
14 a bunch of paper, but also that there be an
15 infrastructure in place that allows us to continue to
16 develop those that need to be improved upon.

17 We've taken a lot of heat for 0700 in the
18 past. Yet, it is one of the most used documents, not
19 only by the NRC but in the industry. When it comes to
20 control room design, the EPRI meetings, most of what
21 they're doing in developing their stuff is based on
22 that. Nonetheless, it could be a more useable, more
23 useful kind of document. There are still gaps in it.
24 There are still things that we don't have good
25 guidance from.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Most of the guidance that was developed
2 or put into that document came from things that we
3 stole from the military. This is not that we did a
4 lot of research, in terms original research in a
5 laboratory to develop that guidance. Most of that
6 guidance was taken from other places, but we went
7 through a validation process.

8 The few things that we were able to do in
9 a laboratory type setting, we've made use of the
10 Halden project and whatever we could to get simulator
11 data and develop the guidance and the criteria that
12 are established in those documents. So the
13 infrastructure is really something that -- whether
14 it's our simulator or Halden's simulator or some other
15 simulator, we need access to that kind of thing for
16 operations.

17 The thing that we have somewhat ignored by
18 spending a lot of time on simulators is that a lot of
19 the errors, and one of things that we found in some
20 other studies that we did with INEEL, was the issue of
21 latent errors. Those errors were being made by
22 maintenance people, not by the operators.

23 MR. ROSEN: That's my opening.

24 (Laughter.)

25 MR. ROSEN: In the context of tools, what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you spent more of your time on, and I think
2 appropriately, is the focus on control room operator
3 performance. But what Davis-Besse tells us, and what
4 a lot of other stuff tells us, is that personnel
5 outside the control room, including top managers,
6 maintenance people, supervisors, and engineers can
7 make mistakes too. Mistakes they make become latent
8 errors, and those are the cases that come out and bite
9 your leg.

10 So the question here, in the context of
11 tools, what tools do you need to look at the
12 performance of other people who are not control room
13 operators? And this gets to the question of
14 organizational performances or rich literature, which
15 I'm sure you know better than me. There's rich
16 literature on organizational development in psychology
17 and how that factors into the personnel performance of
18 engineers and managers and all kinds of people in the
19 organizational settings, and what sort of tools should
20 we be using.

21 It think that this is the opening. This
22 is the area that can have the single biggest
23 incremental value to the agency. I know it's
24 controversial. If it wasn't controversial, we
25 probably wouldn't be interested in it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. APOSTOLAKIS: If you do it in the
2 context of how to these things affect human, I don't
3 even think you need to go to the Commission.

4 MR. ROSEN: Well, that's what I'm doing
5 about. Organizational performance is safety culture.
6 And organizational performance is simply the sum over
7 the integral of all the individual performance.

8 MR. APOSTOLAKIS: You're doing it because
9 you're trying to understand human performance. There
10 would be no objection. That's the way I understand
11 it. I'm serious.

12 MR. HALLBERT: Part of the --

13 MR. APOSTOLAKIS: But if you say, I want
14 to establish a program of safety culture, you might as
15 well not even call. You shouldn't start it by itself.
16 You should start it in the context of something that
17 is immediately useful to the agency.

18 Yes, Bruce. I'm sorry.

19 MR. HALLBERT: That's okay. Part of the
20 insights from that work that we performed on the
21 errors in power plants that contributed to these risk
22 significant events did identify that maintenance
23 errors were important contributors to many events.

24 One of the questions that we entertained
25 when we were back here at a meeting on that particular

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 project was if we could just eliminate maintenance
2 errors, could we make a substantial improvement in
3 reducing the number of risk significant events. In
4 other words, if you needed all the failures that
5 occurred in this event for this event to have
6 occurred, if you just removed maintenance errors, you
7 would thereby reduce the number of total events that
8 had occurred.

9 Part of the quandary in an approach like
10 that is recognized in that maintenance failures for
11 maintenance contributions to significant events don't
12 occur in a vacuum of maintenance. They occur in a
13 context of the overall plant division of
14 responsibilities and mission activities. They're
15 linked to engineering activities, they're linked to
16 operations activities, and it seems like -- and this
17 is just maybe just my opinion right now that I'm
18 saying -- but it seems like if you want to get
19 reductions in the overall rates of some of these kinds
20 of events, you have to understand those contexts and
21 go into some of the causes of those maintenance
22 errors, just like the kinds of causes that contribute
23 to corrective action program failures.

24 MR. APOSTOLAKIS: They're not just
25 maintenance errors.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HALLBERT: True.

2 MR. ROSEN: The reason that David-Besse
3 didn't find the problem was because there was an error
4 repeated several times in putting in the access ports.
5 That was an engineering or a management error. If
6 they had put the access ports in, then maintainers
7 would have gone and said that stuff is coming from
8 something other than the flanges.

9 MR. APOSTOLAKIS: As I said earlier I
10 started reading this root-cause analysis, which is
11 very good. To make it interesting, I started making
12 notes.

13 If this deficiency can be identified,
14 what is it telling us? Some of them are telling us
15 that the work processes were not very good. They were
16 not required to do certain analyses after they found
17 something, you know. That's a relative easy fix.

18 I think where the main difficulty will be
19 when they know of the problem and they don't take
20 action. Because, I don't know how to model them. I
21 think that's going to be more difficult. They say it
22 very clear, "the plant restarted without taking
23 correction action for identified problems." This is
24 the utility speaking now.

25 But these are the kinds of insights that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are beginning to address these questions of
2 organizational questions and so on. I believe that as
3 a community we spend too much time trying to model
4 errors during accidents sequences. It turns out that
5 pre-initiating events are much more threatening.

6 MR. ROSEN: Well, I don't exactly agree
7 with that. I think we spent an adequate amount of
8 time on operating sequence. But, we spent almost
9 nothing on the other piece. I could not do what we've
10 done. We had to do that. But we spent almost nothing
11 on looking at errors.

12 MR. APOSTOLAKIS: When people talk about
13 errors of commission, automatically they think of a
14 sequence or something that's happened already.

15 MR. SIU: Just as a comment here --
16 actually, this is one nice case where feedback from
17 the human factors work led to a task in HRA. We have
18 a task on latent errors, which doesn't get to your
19 point George about the cause and initiating events,
20 but the notion there was to start exploring again the
21 issue of latent errors.

22 There were some beliefs -- in fact we
23 talked about this issue in Stockholm back in '95 or
24 something like that -- that we have at least HRA tools
25 to deal with the likelihood of, for example,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 maintenance errors. There was some feeling that the
2 THERP methodology was just fine for that kind of
3 application. Now that was stated without any strong
4 technical analysis but it seemed to be reasonable to
5 the people attending.

6 What wasn't covered there was the notion
7 of the dependants between multiple errors. Now you
8 start asking about the underlying causes, whether it's
9 culture, whether it's work processes. We intended to
10 look at work processes as part of this work.

11 We haven't gone as far as safety culture.
12 But now that we heard from Scott this morning, we'll
13 probably open that up and see if we should approach
14 the Commission on that.

15 MR. APOSTOLAKIS: Again, I don't think it
16 would be wise to say we want to study safety cultures.

17 MR. SIU: Right, but as a contributor to
18 --

19 MR. APOSTOLAKIS: Right. We are doing
20 this, we have started it, and now we have to move into
21 this area. You know, that kind of thing.

22 MS. LOIS: I just want to mention although
23 it's in a past life, the University of Minnesota had
24 done some work in the early 90s, and the early
25 indications were that learning and management

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 commitment were very good predictive indicators.

2 MR. APOSTOLAKIS: No, I understand that.
3 But I really think you have to test these things
4 against what they found in Davis-Besse.

5 As I say, some of it is just "all I have
6 to do is fix the process". Some other things though,
7 the knew of problems and didn't take action --

8 MR. ROSEN: Well, there's a corollary
9 here, George. Just looking at Davis-Besse is not
10 enough. One needs to take some hypothesis out of the
11 Davis-Besse circumstance and then apply elsewhere.
12 And one of the place was Indian Point.

13 If you think about Davis-Besse, they
14 didn't put the access ports in and they could've. Now
15 Indian Point didn't replace the steam generators when
16 they could have. And so again, you come to the
17 question that there's some commonality.

18 MR. APOSTOLAKIS: Absolutely. I just
19 mentioned Davis-Besse because it's a hot issue, and I
20 just happened to get the root-cause analysis a week or
21 so ago and I was going through it.

22 But even there, you say your talking about
23 the access ports, that they didn't do it. Maybe they
24 didn't do it for a long time. They were deferring it
25 from outage to outage for three, or four, or five

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 times or whatever. Is that the indicator or the fact
2 that they didn't do it at all?

3 These are the kinds of questions that I
4 think the researchers will have to answer. Some
5 people are saying a good indicator of a safety culture
6 -- not the total of course, but a good indicator -- is
7 the number of items deferred. They were planned to do
8 it and they were not done during the outage. So,
9 there may be ways to approach it and get some
10 indication.

11 MR. POWERS: Let me see if I can summarize
12 what we've said about tools.

13 We have not a great deal of schism between
14 HRA and HF here, but some. That in the HRA, you're
15 looking to develop tools of varying levels of
16 sophistication and the guidance for selection among
17 those tools, that you're looking to validate these
18 tools both by using existing data and Dr. Bonaca has
19 suggested that we look to see if we can use the data
20 for development of symptomatic procedures.

21 I'm less persuaded that we will have
22 access to that data or even that this data is readable
23 to this point. It seems to be a common problem when
24 getting the data collected over a decade ago that it
25 is no longer readable by any machine that we have. In

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 some respects, what we may be discovering is that
2 we've gotten sophisticated enough that the controls in
3 that data were too loose to make it very useful to us.
4 So I'm less enthused about that, but it's worth
5 looking for.

6 But more importantly, you're looking at
7 can we develop data to develop new data to provide
8 some sense of validation recognizing that validating
9 these tools that they use strictly in an interpolative
10 fashion is a pipe dream and it's never going to
11 happen. You may be able to find some reference points
12 in a space that you have some confidence in, and
13 you're hopefully no extrapolating vast distances.

14 Now what we learned just before lunch,
15 that phase space you will of has dimensions that
16 perhaps we haven't explored yet. We don't know what
17 they are because we have variants in the data and you
18 can look upon variant data as projections from the
19 space that has a high dimensionality.

20 In the HF area, we're looking at a
21 somewhat different kind of tool, more user-oriented,
22 more delivered to the frontline kind of tool that's
23 the implementation of a vast amount of technology
24 that's in hand now. Is that my understanding?

25 MR. PERSENSKY: That's part of it, yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. POWERS: You go on and say you want an
2 infrastructure that allows you to build upon that, but
3 the tool that you're producing is one that would be
4 used not by a specialist but by a non-specialist.

5 MR. PERSENSKY: In the end, yes, that
6 tool, as well as the training that would go with it.

7 MR. POWERS: And the training. You still
8 have a guidance aspect to this?

9 MR. PERSENSKY: Right.

10 MR. SIU: If I could just add to what you
11 said, Dana. Again, it's not that we're not going to
12 also develop guidance for non-HRA analysts. Again,
13 someone who's reviewing an application wants to know
14 from an HRA perspective, so we're also trying to
15 address the user.

16 MR. POWER: Yes well, that point that you
17 made, that I took a lot of notes on that I don't see
18 right now, we are trying to support NRR, who are doing
19 the -- I really put that under your guidance category
20 rather the tools category.

21 MR. SIU: Okay, parse anyway. But there's
22 one thing that says here's guidance, how to use this
23 set of HRA tools. Here's the guidance which might
24 support or review of somebody else's --

25 MR. POWERS: That's right, and I made a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 distinction between the two.

2 MR. SIU: Okay.

3 MR. POWERS: Now a question that was
4 raised in connection with your data, do we need our
5 homegrown simulator? You know, the simulator for a US
6 plant run by US people doing the kinds of experiments
7 now done by a Norwegian simulation of a Finnish plant
8 with Finnish plant and Swedish scientists.

9 But the question posed to you is: without
10 thinking of cost benefit right now, could the research
11 program make bigger use of that kind of a facility?

12 MR. APOSTOLAKIS: I'm a bit confused. How
13 is this facility different from the simulators that
14 exist right now in this country?

15 MR. POWERS: This is a research simulator.
16 They go do these wonderful tests and things like that.
17 They invite crews to come spend a wonderful week in
18 Chattanooga running experiments for them, wired up
19 like Ginny pigs with stress measures and stuff like
20 that. I mean to develop data, to develop an
21 understanding, to develop a science.

22 MR. PERSENSKY: The issue is it's a
23 reconfigurable simulator that you can change things
24 around, which you can't very well do at existing
25 plants or even at our own simulators in Chattanooga.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 In addition, there would be much wider
2 data collection opportunity, the kinds of things that
3 they do have at Halden and other facilities, NASA
4 facility, FAA facilities. They'd collect a tremendous
5 amount of data. We never even talked about the data
6 they'd collect. That might get into much more finite
7 kinds of things.

8 But to answer your question in the best of
9 all possible worlds, having a simulator like that I
10 think would be helpful to human factors. It would be
11 helpful to HRA and it would be helpful to Digital I&C
12 at least. I don't know really that it's that
13 practical.

14 MR. POWERS: The answer is unequivocally
15 "yes" to the question that's posed. But the follow up
16 question is: do you have a strategy that would make
17 use of this, and would it make use of it 60 percent of
18 the time, 70 percent of the time, 100 percent of time?

19 MR. APOSTOLAKIS: You are asking
20 uncharacteristically an unrealistic question there.
21 I can't believe my ears.

22 MR. ROSEN: It's not his question. It's
23 mine.

24 MR. APOSTOLAKIS: Divorce always from
25 cost. Maybe it's cheaper to fly US troops -

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (Laughter.)

2 MR. APOSTOLAKIS: I mean you're asking
3 would it be nice to have this extra research
4 capability. I'm not going to say "no". It would be
5 nice.

6 MR. HALLBERT: I guess, you know, from
7 another research perspective also, it depends upon the
8 kinds of questions you want answers to.

9 For example, you talked earlier about the
10 data available from EOP studies for relicensing and
11 requalification exams. If part of what you want to do
12 is collect a larger baseline on operator performance
13 in different contexts, there probably is a large
14 amount of suitable data there.

15 If what you want to do is something more
16 unique that requires modification of the operating
17 environment, then you have to start looking at the
18 extent of modifications and finding out can it be
19 accommodated in the existing facility.

20 If, for example, what we were talking
21 about doing -- and I'll use an example here -
22 evaluating how well a new electronic procedures system
23 would work. Well, you wouldn't actually have to have
24 your own dedicated plant to do that because a number
25 of plants considering doing that right now. You might

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 try to find a plant that was interested in that and
2 say I've got a couple of candidate systems we want to
3 research, can we use your training facility.

4 MR. ROSEN: The answer would probably be
5 "no" because it's used 24 hours a day, 7 days a week.
6 You kept coming back to your own point that those
7 simulators are heavily used.

8 And licensees, it's crucial that they get
9 the training done that they have scheduled. They
10 can't afford to have somebody in there messing around
11 with their simulator because at seven o'clock in the
12 morning, their crews are coming in.

13 MR. HALLBERT: So you'd like to piggyback
14 on efforts that are already going to try to take
15 advantage of data that they're already generating.
16 But unfortunately, the problem that we've always had
17 in the past was something like this, that it is not a
18 regulatory issue.

19 Very few plants want -- well, I'm not
20 sure how many or which plants like to volunteer for
21 that because if something happens during the simulator
22 exercises that they don't like, then it immediately
23 raises issues for them.

24 MR. POWERS: And you're never going to
25 find a plant that has an appropriate simulator for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 looking at a modular plant.

2 MR. ROSEN: But the point is if we don't
3 ask these questions, if we don't ask them now, they
4 will not be asked. Here we are at the verge of
5 perhaps a new generation of reactors, we all hope --
6 are we just going to do it the same way we did the
7 last generation, or are we going to do it a little
8 differently?

9 MR. POWERS: Well, I'm kind of impressed
10 with the last generation lately.

11 MR. ROSEN: I think we ought to do more.
12 It look 50 years to get to the point where the old
13 generation -- it's pressingly talked about.

14 MR. POWERS: And now you want to put in
15 another new generation to get me depressed again.
16 You're playing with my sanity here.

17 MR. APOSTOLAKIS: This is not the only
18 way.

19 (Laughter.)

20 MR. ROSEN: To start off, this generation
21 of machines, if we're going to build advanced
22 reactors, highly integrated control rooms, passive
23 safety, it seems to me that an investment upfront of
24 what it takes to build a reconfigurable machine where
25 we can test some ideas and test these things is not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 entirely out of the question. It shouldn't be.

2 MR. POWERS: If we're going to ipso facto
3 attack the issue of errors of commission, I don't know
4 how you do it if you don't go get some exploratory
5 data. I mean everybody just throws up their hands for
6 error of commission, and I think exploratory studies
7 may be the only way to broach that subject.

8 MR. PERSENSKY: If I may, one of the
9 efforts that I put into the advanced reactor plan, the
10 first effort in that included sort of a scoping study
11 of what might be the problems with advanced reactors
12 that we should be addressing, where the gaps between
13 what we know, what guidance we have available, and
14 where we might be going if there's a need to change.
15 For instance, for advanced light water reactors, we
16 may not need to make many changes to the current
17 guidance. For modular reactors, we might.

18 But in that, we included an element of
19 looking at the need for a simulator. One of the
20 things that we talked about in that particular element
21 of the plan was that currently we've got "X" plants or
22 units out there. Each plant has its own plant
23 specific simulator, but they're all different; whereas
24 for the future plants, we're looking at more
25 commonalities.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So, there might be a real possibility of
2 joining with the industry or with DOE in developing a
3 simulator that we can all use. Not unlike the kinds
4 of things that they did with some of the test
5 facilities with some of the vendors, where we were
6 jointly funding and working towards that.

7 So we are interested in that, and we plan
8 to look at that as a matter of fact.

9 MR. BONACA: But I think you want to have
10 a simulator of a plant with a matching set of
11 procedures for that plant. If you build a new
12 simulator that maybe wonderful as a concept -- but you
13 don't have the procedures which are tied to the
14 machine.

15 One suggestion. A number of plants have
16 been retired, but they had plant specific simulators.
17 They're probably still effective and can be used.

18 MR. PERSENSKY: They've all been bought up
19 or trashed.

20 MR. BONACA: Okay.

21 MR. PERSENSKY: Because we purchased a
22 couple of them for the TTC as a matter of fact. Some
23 of the others had been purchased by other vendors.

24 MR. GRIPMAN: I'm Dave Gripman. I wanted
25 to comment on -- Jay stole my thunder there, but I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 think this idea of looking for synergy with the
2 Department of Energy is a petition to cite a pebble-
3 bed reactor. They have a lot of operations experience
4 and operators available.

5 I think that might be a way to do some
6 cost sharing because I think the use of this research
7 simulator is a very powerful one. I think having one
8 in the US in addition to whatever else we can learn
9 around the world is a good concept. We can full
10 scope. We can look at test simulators and extract
11 general principles and behavioral profiles as well for
12 crew performance. So, I think that's one way we want
13 to go.

14 I think the other challenge has to do
15 with the issue that was raised a little earlier on
16 maintenance. When we talk about a simulator, I think
17 if we're talking about simulation, we almost have to
18 go to analytic type simulation if we want to talk
19 about maintenance performance, looking at work
20 processes, and what happens when you disrupt time.
21 Can you force common cause failures across systems and
22 look at what those failure rates might be like to see
23 if those shaping factors were the same?

24 That's a more challenging type of
25 simulation I think, and that's something that maybe

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ought to be pursued as well.

2 MR. POWERS: Peter?

3 MR. FORD: The answer to my question has
4 been partly answered at least to advanced reactors.
5 If we believe the schedules we're seeing, within the
6 next two or three years, we'll be looking at
7 applications for designing new reactors. We don't
8 have simulator for these new concepts. Therefore, you
9 have to rely on the synergy between the conventional
10 reactors and the new reactors that are coming down the
11 line.

12 When you look at your needs over the next
13 two years, what's keeping you awake at night? You
14 have no way of knowing how you're going to tackle a
15 particular problem in both the human factors and HRA.
16 What keeps you awake, the sufficient lack of
17 knowledge?

18 MR. SIU: You know what keeps me awake at
19 night? Nine-eleven.

20 MR. POWERS: I'm jumping to speak here,
21 which is silly on my part, but I do rather silly
22 things. But when I see massively automated plans, I
23 put on an HRA or a human factor hat, and it's the
24 errors of commission.

25 I probably should probably worry about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 latent errors in the maintenance process. The
2 committee definitely heard the story that they were
3 four times as important as the errors following an
4 initiating event. We got that message last year and
5 we quote it frequently.

6 MR. APOSTOLAKIS: I'm a little surprised
7 though that some committee members seem to be more
8 enthusiastic about getting the simulator. Rosen and
9 Powers are saying this is great.

10 MR. FORD: Hold on, George, before you get
11 into that particular topic. Nothing keeps you awake
12 at night?

13 MR. APOSTOLAKIS: I'm not going to say it
14 now.

15 (Laughter.)

16 MR. HALLBERT: I not sure it keeps me
17 awake at night, but it's in my thoughts in the daytime
18 when we think about HRA and we're going this work.
19 I have children so they keep me awake at night.

20 (Laughter.)

21 MR. POWERS: Wait until they become
22 teenagers.

23 MR. HALLBERT: We have that too. They
24 wake us up at night when they come in.

25 (Laughter.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HALLBERT: Just a couple of things.
2 One is just trying to reconcile the notion of
3 reliability and validity in the approaches that we
4 currently use. I'll give you some examples.

5 Reliability is different analysts being
6 able to replicate the results, looking at the same
7 scenarios with the same information. There have been
8 some benchmark studies in which the orders of
9 magnitude difference in results is really bothersome.
10 You know, where they did try to benchmark.

11 MR. POWERS: There is a really nice paper
12 which I had read, but I cannot refine, in which they
13 compared some of these analytic techniques to each
14 other, and it -- human reliability analysis, and it
15 virtually --

16 MR. APOSTOLAKIS: It was all over the
17 place.

18 MR. POWERS: Yes. I mean there was no
19 correlation whatsoever.

20 MR. HALLBERT: The other thing is just the
21 validity for -- I'm not sure if I'm characterizing
22 this correctly, but at least to me, an apparent lack
23 of a process in which methods become validated. In
24 other words, a group of people produce a method and
25 it's then just released.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I'll say this for ATHENA, ATHENA at least
2 has gone through a lot of very systematic attempts and
3 efforts to try to achieve some kind of validation of
4 the principles of the method. Just given all the
5 methods that are out there, there are some methods
6 that have done that to a much less extent, so you
7 really wonder about different analysts using it. You
8 wonder about the validity of the results that come
9 about as a result.

10 I then think about the NUREG on lessons
11 learned from the IPEs. And in the appendix, I think
12 there's a very -- I think in fact you wrote it Dana if
13 I'm not mistaken or at least you talked about it at
14 the EHPG in Norway I think when you came over there.
15 There are certain criteria to a PRA completeness. And
16 with regard to HRA, there should be the same criteria.
17 So, I don't think we're there with HRA yet.

18 MR. APOSTOLAKIS: The thing that really
19 bothers me, and it comes to my comment earlier, is
20 that, as I said earlier, I read one model and they
21 seem to be focusing on decision analysis. Another
22 model is focusing on time. Another model, it says
23 PSS. Another one is expert opinion. And, they
24 operate in parallel with apparent interaction. I
25 think it's time to stop that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. FORD: So follow up then, on both the
2 HF and the HRA, you've got data collection analysis.
3 And you're saying that keeps you awake as you go
4 forward on the current fleet using it in its entirety
5 going to advanced fleet. In the prioritization of
6 tasks for the next five years, is that item high on
7 the prioritization list, data collection?

8 MR. SIU: Practically number one.

9 MR. FORD: I haven't seen it yet, so --

10 MR. POWERS: Nathan says it's number one
11 on their list.

12 MR. FORD: Great.

13 MR. SIU: That and guidance are the two
14 tasks that we are really focusing on.

15 MR. POWERS: To follow up on George's
16 point, my understanding of your program is that you
17 know have, you have number one, guidance. Number two
18 is this data collection. Somewhere down a little
19 lower is to look at all these models, distill which
20 are the good aspects, which are the bad aspects, and
21 come up with some judgment on what a desirable tool
22 would be. Now that may be one that already exists, or
23 may be one that you have to invent, or it may be that
24 you can change a Greek thing into a Latin thing.

25 (Laughter.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SIU: He says that, but it's a step
2 backwards.

3 MR. POWER: Okay, a Greek thing into an
4 Anglo-Saxon thing, which is clearly a step forward,
5 and have a new model.

6 Is my understanding correct there?

7 MR. SIU: Again, I think we're talking
8 about, as you indicated earlier, is a range of methods
9 and tools suitable for different applications and
10 guidance to support the appropriate application of
11 those methods and tools.

12 George, I don't think you were in when we
13 were having a little bit of discussion about driving
14 towards some sort of common model. That's something
15 I think that we would really like to do.

16 MR. APOSTOLAKIS: Good.

17 MR. SIU: Some of the discussions we're
18 going to have next week are along those lines.

19 MR. APOSTOLAKIS: Very good.

20 MR. POWERS: I very much appreciated your
21 presentation. The information was enlightening to us
22 and extraordinarily useful. I wish you well on
23 whatever follow-on efforts you're taking.

24 MR. APOSTOLAKIS: Keep your passion
25 burning.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KRESS: And get some sleep.

2 (Laughter.)

3 MR. POWERS: I appreciate Nathan sharing
4 that material with us because it was helpful on many,
5 many scores.

6 MR. SIU: While Bruce and Dave are packing
7 up here, another thing I wanted to mention by the way,
8 you had asked about, if you will, the gaps in our
9 program.

10 MR. POWERS: Yes.

11 MR. SIU: What you see in Erasmia's slide
12 I think are, most of those are anticipatory
13 activities. For example, the latent errors, we talk
14 about extended applications for LOPAR, and shut down
15 long-term recovery actions, level two HRA. These are
16 things that we are anticipating that we're going to
17 need to improve methods and tools for. Obviously,
18 we've got stuff being used now. But the question is
19 can we do better.

20 So the list you see in the table that was
21 displayed is our shot at what we think the needs are.
22 We have something that's very global on upgrade and
23 advanced reactors. Maybe it's not specifically enough
24 --

25 MR. APOSTOLAKIS: On page 19 of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 plan, you have a number of tasks.

2 MR. SIU: That's right.

3 MR. APOSTOLAKIS: These are the same?

4 MR. SIU: Those are the same. We just
5 tried to map those into different needs.

6 MR. APOSTOLAKIS: Okay.

7 MS. LOIS: Except, a few tasks are not
8 there such as standards development, vulnerability, or
9 --

10 MR. SIU: That's right. So, there are a
11 couple of things that have been added on the table.

12 MR. APOSTOLAKIS: There is also some
13 acronyms at the end WSMS 1-2.

14 MR. SIU: Yes.

15 MR. APOSTOLAKIS: RSWER 1-3. Is this a
16 secret code?

17 MR. SIU: No, this is our risk informed
18 regulatory --

19 MR. APOSTOLAKIS: That's the RIRIP. I
20 understand that.

21 MR. SIU: Okay. And it has specific
22 activities in it, so these are tied to those
23 activities. So when there are activities that need
24 HRA support --

25 MR. APOSTOLAKIS: I have two questions

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 regarding this table, appreciating the fact that it's
2 in a document dated May, 2001.

3 MR. SIU: Yes.

4 MR. APOSTOLAKIS: One is, would Davis-
5 Besse or the Indian Point incidents, among others
6 perhaps, change these tasks because that was done
7 under a different context?

8 And second, I understand you plan to have
9 an updated version early next year. I think that
10 developing performance indicators for human
11 performance is important. Maybe you can try to
12 accommodate this somewhere there because the reactor
13 oversight process is in desperate need of this. It
14 does relate of course to Davis-Besse and Indian Point
15 again.

16 Again, I don't mean performance indicators
17 in the sense that they are already in the ROP for
18 reactor safety like the frequency of transients of the
19 frequency of this and that because you may not be
20 dealing with frequencies.

21 But when the guy there to inspect, is
22 there an indicator that he can look at? Like I
23 mentioned, a number of items deferred for example.
24 Does it make sense universally? But I really think
25 these are what the issues are these days. So other

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 than that, it seems to be a fairly comprehensive list
2 of various tasks and theories.

3 And one last comment I keep forgetting.
4 Jim Riesen I think makes a distinction between latent
5 errors and latent conditions. I think latent
6 conditions is probably more appropriate because
7 they're not necessarily errors. They create the
8 context within which -- it's a broader term. I think
9 conditions is a little better.

10 I have a few other comments on the report,
11 but the report seems to be obsolete anyways. For
12 example, on page 20, there are some deadlines.

13 MR. SIU: Yes.

14 MR. APOSTOLAKIS: "Develop HRA research
15 lessons to support risk informed regulatory
16 applications", September, 2001. Has that been done?

17 (No response.)

18 MR. APOSTOLAKIS: "Develop initial
19 guidance" -- well, there are certain things that are
20 supposed to be done by now.

21 MR. SIU: Right.

22 MR. APOSTOLAKIS: And I wonder whether
23 they have been done and if we could get copies of
24 them.

25 MR. SIU: And as Erasmia indicated, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 two things that are coming down in terms of
2 quantification uncertainty, and that's in the context
3 of ATHENA, and what was the other one? Oh, PTS was
4 the other one.

5 But yes, the plan will be updated.
6 Obviously, one of the motivating factors behind that
7 is because the dates need to be updated.

8 MR. ROSEN: When Scott came at the very
9 beginning, he tantalized us by saying we may need to
10 reengage the Commission on Davis-Besse, based on the
11 Davis-Besse experience. Is there more that you can
12 say about that? Is there a whole piece of this
13 presentation that hasn't been given or what?

14 We have said a lot about it. George has
15 spoken, I have spoken, and people have said things
16 around the table, but you haven't said anything.

17 MR. SIU: We haven't done significant work
18 in the area. The decision that we would think about
19 reengaging was a very, very recent decision. This is
20 a statement of intention I think, and we're going to
21 start looking at that.

22 MR. ROSEN: Perhaps you might need some
23 input, more than we've given you already.

24 MR. SIU: Sure, yes.

25 MR. ROSEN: One of the pieces of input I've

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 mentioned before was the leading indicator program at
2 EPRI. And the offer that the EPRI management made to
3 me at least was that they would be pleased to come
4 here and brief the staff and the ACRS if we wanted to
5 and the subcommittee on what that program does.

6 To me, in looking at it and talking to one
7 of the leading utilities that's using it, it's the
8 first piece of data collection that in mind the
9 industry has done that actually has a chance of
10 getting us an early signal that the decision-making
11 environment in a utility is degrading, that tasks are
12 not being done well. I think that's a piece of this
13 problem, an organizational performance problem, that
14 we're labeling safety culture.

15 The other thing is we talked about the
16 need for indicators. Well, even leading gives you
17 these indicators, to sum it up and look at things.
18 But George mentioned the modifications that are
19 preferred. To me, just corrective actions that are
20 preferred that are significant is another one of those
21 indicators that are important.

22 Of course, the classic one in corrective
23 actions is the failure to preclude recurrence. The
24 very essence of a corrective action program is that
25 when something happens, you do enough to make sure it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 doesn't happen again. And when it does happen again,
2 if it does, there ought to be a big signal to
3 management that something is wrong with the corrective
4 action program.

5 And the third one is a question of, in an
6 environment that is degrading, in a place where there
7 are a lot of good people, those people begin to come
8 forward. In a safety conscious work environment,
9 those people come forward with complaints that we're
10 not doing a good job. How many there are and what
11 management does with them is another indicator of the
12 degrading environment or an improving one.

13 So, there are some rich data sources to
14 mine. To me, working on how good the operators do in
15 a known transient -- and it's a good thing to do, but
16 it's working on a problem that we've worked, and
17 worked, and worked. We haven't worked at all hardly
18 on this other end of the real risk spectrum.

19 MR. POWERS: I expected you to -- I mean
20 you certainly mentioned this leading indicator program
21 and its value. But I expected you to go on and
22 comment on this whole business of cross-cutting issue,
23 and how is the HF and HRA program addressing this?

24 I mean you've got this statement. This
25 is a cross-cutting, and it just kind of sits there.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 What do we do with that? I mean is there nothing that
2 can be done?

3 MR. APOSTOLAKIS: In fact, there was a
4 hypothesis which the ACRS several times in its letters
5 said it's an untested hypothesis. That is there is a
6 problem with any one of these three cross-cutting
7 issues, we will see it in the performance of the
8 hardware so why worry about it.

9 MR. ROSEN: To my view, that is exactly
10 correct. If there is a problem with cross-cutting
11 issues, you will see it in the hardware. The trouble
12 with that is that you will see it too late.

13 MR. APOSTOLAKIS: Too late --

14 MR. SIEBER: The other problem with that
15 is you're not going to find just one issue. You're
16 going to have a whole series of latent defects in the
17 plant that will take you millions of dollars to
18 correct and years to correct.

19 MR. ROSEN: And the other point that you
20 will apply but didn't make is that if you have a whole
21 raft of these defects, on a bad day they'll all line
22 up wrong. Then, you can have a very serious
23 circumstance.

24 MR. APOSTOLAKIS: Like Swiss cheese.

25 MR. ROSEN: The barriers all have holes,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and then one day the barriers all line up exactly
2 right and you get this light --

3 MR. APOSTOLAKIS: When they say "model",
4 that's what they mean.

5 MR. POWERS: The ROP people, when they
6 respond to us -- and this is untested hypothesis --
7 said "yes, we're going to test it", I don't know how
8 they can test it without you people being involved.

9 MR. PERSENSKY: To some extent, the report
10 that I mentioned that talked about the ROP study,
11 which is NUREG CR-6775, was a response to that
12 question. They did look at how performance was
13 characterized in the reactor oversight process and how
14 it lined up ASP events in the past. That did identify
15 a number of issues.

16 The one that seems to have the highest
17 payoff right now is the improvement to the corrective
18 action program inspection module. What we're doing is
19 looking at the inspection module.

20 It did mention some other issues that
21 came up. For instance in the area of latent errors,
22 the possibility of some changes to the sampling under
23 the maintenance program, the maintenance rule. There
24 are certain things like we look only at certain high-
25 risk equipment. Whereas if you look back at some of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the accidents, there were other pieces of equipment,
2 that when they lined up properly, caused the problem.
3 So there may be some other changes. We proposed that
4 we look at that.

5 Also, the issue of communications is one
6 of things that came out as a major problem. But we do
7 have in fact right now, since that work was done, we
8 have come out with a couple of reports in conjunction
9 with NRR on trying to improve the communications' look
10 at things. So, we didn't go back on that.

11 We also mentioned what might be called
12 safety culture. We made the point in our letter that
13 there is a current restriction on doing much work in
14 that area. But as Nathan said, there's very recent
15 direction that we may be going back and looking at
16 that.

17 So, there are a number of things that came
18 out. If you look at the three cross-cutting issues --
19 one is the corrective action program, one is human
20 performance, and the other is safety conscious work
21 environment -- they're all human factors.

22 MR. POWERS: They're all one thing.

23 MR. PERSENSKY: They're all one thing.
24 They all come down to a human or organizational or
25 whatever factor.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 But, we have done some work in that area.
2 We haven't done perhaps the definitive work, and I
3 think we need to follow it up with more recent looks
4 at things like Davis-Besse.

5 MR. APOSTOLAKIS: I have a question to
6 that regarding the plan. There was a conceptual
7 problem I had with this.

8 It says that the methods for modeling or
9 post-initiate actions are in not fairly good shape,
10 but they are more advanced than methods to treat
11 organizational factors. Now we all agree that
12 organizational factors, as the report says, strongly
13 affect those actions.

14 So how can a method or action be more
15 advanced than methods for dealing with something
16 that's necessary to understand the actions themselves?
17 If I do organizational factors poorly, don't I
18 automatically do human error modeling for which
19 organizational factors are important?

20 MR. SIU: Or put it another way. Perhaps
21 you're dealing with some sort of an average level. I
22 mean you're able to distinguish between the
23 characteristics of different organizations other than
24 how they affect things that we do try to address in
25 the analysis. Like when we make observations of crews

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and see how they actually respond to a particular
2 event, or you look at past history and factor that
3 into your analysis. But that's not a direct analysis
4 of --

5 MR. POWERS: I think you see it in a great
6 deal of variance in the data that you collect on human
7 performance. If you don't understand everything and
8 you project it under the space that you understand,
9 you're going to see a large amount of error. And
10 that's what they see.

11 MR. ROSEN: They do not understand what
12 the source of the variance is.

13 MR. POWERS: That's right.

14 MR. APOSTOLAKIS: What I think really is
15 said here is that there has been a lot of attention
16 paid to modeling human actions. There are a number of
17 models. In that sense, it's more advanced than the
18 other stuff where you have maybe a couple of models.
19 But, it's causing effect. If the cause is not modeled
20 well, the effect is not modeled well. But again, I do
21 bring it very serious.

22 I have a question for the Chairman.

23 MR. POWERS: Yes.

24 MR. APOSTOLAKIS: What time does the
25 coffee shop downstairs close?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. POWERS: I believe you will not be
2 able to get coffee after four o'clock.

3 MR. APOSTOLAKIS: Okay.

4 MR. POWERS: Let me ask this question. I
5 had five categories of questions that we posed after
6 lunch: the big scheme of needs, tools, organization
7 safety culture, and indicators, development of HRA
8 models and view of existing models, and state of the
9 art. I think we have addressed those in our
10 discussions.

11 Do you want to take a break for 15
12 minutes, get your coffee, come back, and do a
13 roundtable for the points that we want to make?

14 MR. APOSTOLAKIS: Sure. I think that's
15 good.

16 MR. POWERS: Or do you want to interrogate
17 these gentlemen and lady further?

18 MR. APOSTOLAKIS: No, but I'm sure they're
19 going to stay.

20 MR. POWERS: They're more than welcome to
21 stay because I think we're going to need their
22 continuing help.

23 But I will emphasis that on the time that
24 I have been on the ACRS, this has been the most
25 enjoyable, pleasant, and well thought out meeting in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the area of human reliability and human factors that
2 I've ever attended. It comes off with a more
3 optimistic note than I've ever enjoyed.

4 So, I congratulate you on an excellent
5 presentation to the subcommittee, which almost amounts
6 to the full committee. You will be surprised to find
7 that Dr. Shack, who is not here, has strong views on
8 this subject and will probably take an orthogonal view
9 on everything.

10 We do need to chat a little bit about what
11 to present to the full committee.

12 We're done. I think at this point I'm
13 going to close the meeting, and adjourn this
14 transcriber at this point. We'll come back after
15 coffee and discuss a little bit about what to present
16 to the full committee and what we think ought to
17 appear in the letter. So why don't we reassemble at
18 twenty-five of the hour.

19 The meeting is closed.

20 (Whereupon, the above-entitled meeting
21 concluded at 3:19 p.m.)
22
23
24
25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701