

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
Thermal Hydraulic Phenomena Subcommittee

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Monday, September 9, 2002

Work Order No.: NRC-520

Pages 1-185

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

SUBCOMMITTEE ON THERMOHYDRAULIC PHENOMENA

+ + + + +

MONDAY

SEPTEMBER 9, 2002

+ + + + +

The ACRS met at the Nuclear Regulatory Commission, Two White Flint North, Room T-2B1, 11545 Rockville Pike, at 1:00 p.m., Graham Wallis, Chairperson, presiding.

COMMITTEE MEMBERS:

GRAHAM WALLIS	Chairman
TOM KRESS	Member
DANA POWERS	Member
PETER FORD	Member
VICTOR RANSOM	Member

P-R-O-C-E-E-D-I-N-G-S

1:05 p.m.

1
2
3 CHAIRMAN WALLIS: The meeting will now come
4 to order. This is the meeting of the Subcommittee on
5 Thermal Hydraulic Phenomena. I am Graham Wallis,
6 Chairman of the Subcommittee. The other ACRS Members
7 in attendance are: Peter Ford, Tom Kress, and Dana
8 Powers. For today's meeting, the Subcommittee will
9 continue its review of the proposed resolution of
10 Generic Safety Issue (GSI) 185, "Control of
11 Recriticality Following Small-Break LOCAs in PWRs".

12 The Subcommittee will gather information,
13 analyze relevant issues and facts, and formulate
14 proposed positions and actions, as appropriate, for
15 deliberation by the full Committee. Mr. Paul Boehnert
16 is the Cognizant ACRS Staff Engineer for this meeting.

17 The rules for participation in today's
18 meeting have been announced as part of the notice of
19 this meeting previously published in the Federal
20 Register on August 21, 2002.

21 A transcript of this meeting is being
22 kept, and the transcript will be made available as
23 stated in the Federal Register Notice. It is requested
24 that speakers first identify themselves and speak with
25 sufficient clarity and volume so that they can be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 readily heard.

2 We have received no written comments or
3 requests for time to make oral statements from members
4 of the public. We will now proceed with the meeting,
5 and I will call upon Harold Scott, from the NRC's
6 Office of Nuclear Regulatory Research, to begin.

7 MR. SCOTT: Thank you. The same team making
8 the presentations today (audio gap) will be providing
9 the same thing here at this meeting. I noticed at the
10 July meeting, you provided a remark about some things
11 besides water in the reactor, there are neutrons.
12 We've got some water guys, and we've got some neutron
13 guys. The next page in your hand-out summarizes this
14 issue. Talking about small-grade LOCAs, which have
15 probably reduced the high-pressure injection
16 capability, such that you get steaming in the core.
17 That steam goes over into steam generators. It doesn't
18 really matter whether it's a once-through steam
19 generator or recirculating steam generator.

20 You build up some deep boiling water in
21 the outlet plenum of the steam generator, the cold
22 leg. I'll show you a picture in a little bit. Then
23 after the system fills up again, natural replacement
24 will restart, or the operators might start a pump.

25 Now this unborated water goes into the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 core, and causes the reactivity surge.

2 DR. FORD: One of the things (audio gap)
3 is that the (audio gap) deborated water (audio gap).

4 MR. SCOTT: I haven't seen one either, but
5 if it's steam, it's going to be, you're saying that
6 some boron might carry over with steam?

7 DR. FORD: It's a finite vapor pressure.
8 It's a finite vapor pressure at these temperatures.

9 MR. SCOTT: Oh, okay. We didn't look at
10 that.

11 DR. WALLIS: Well, your reports speak of
12 near-zero boron.

13 MR. SCOTT: Okay.

14 DR. POWERS: Well, the question is, how
15 close to zero are we discussing. If the systems fail
16 to pull away or pressurize (audio gap) can't possibly
17 be more than about one theoretical plate in the
18 system, and it's not very close to zero.

19 MR. SCOTT: I would guess that we'll find
20 out the uncertainties in mixing. We're going to swap
21 out the question of whether it's -- what the
22 concentration is in a so-called unborated slug of
23 coolant water.

24 In your hand-out there's a --

25 DR. DIAMOND: David Diamond of Brookhaven.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I have seen those calculations in the past. My
2 recollection is that (audio gap)

3 MR. SCOTT: (audio gap) this high-pressure
4 blow-out (audio gap)

5 DR. POWERS: Dr. Kress, you have done
6 analyses in this area. (audio gap) have a negligible
7 (audio gap)

8 DR. KRESS: Well, there is a significant
9 (audio gap) calculations where you assume the boron
10 delivery with the steam is carried over at this
11 pressure (audio gap) in the (audio gap) I would expect
12 if you have a significant -- I haven't done the actual
13 calculation.

14 DR. POWERS: It is crucially dependent on
15 what pressure you're operating at.

16 DR. KRESS: Yes, pressure.

17 DR. POWERS: Well, the two aren't
18 independent there.

19 MR. SCOTT: Are we down at 500 PSI or
20 (audio gap)

21 DR. KRESS: Okay, if there's low pressure
22 then --

23 DR. POWERS: Well, let's make sure we
24 understand what low means. In this case I doubt we're
25 below the pressurizer relief valve.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SCOTT: In small-break LOCA, under
2 these conditions, yes we are, at the --

3 DR. POWERS: You've got the accumulators?

4 DR. KRESS: Under those conditions it may
5 very well --

6 DR. POWERS: It may be fairly well
7 partitioned at that point.

8 CHAIRPERSON WALLIS: I don't like the
9 vagueness, I would like to have some numbers on low
10 and high and negative (audio gap)

11 MR. SCOTT: (audio gap) next (audio gap)
12 probably more (audio gap) the next picture in your
13 hand-out is a raised loop BNW machine. That one
14 currently has a hole in its head so it's not running.
15 This is the lower loop. And just for clarity purposes,
16 Westinghouse (audio gap)

17 There's another (audio gap) and you can
18 see there's a cold leg (audio gap) here (audio gap)
19 maybe I should (audio gap)

20 DR. WALLIS: Why did you do all the
21 calculations on one of these machines? They all have,
22 they all have this problem of eventually they (audio
23 gap)

24 MR. SCOTT: Yes, and the main issue was for
25 the OTSG plants, because they have a larger volume.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The other guys claim that it's not such a problem,
2 which I'll cover later this afternoon.

3 We have not done any Westinghouse or CE,
4 we didn't plan to.

5 DR. WALLIS: Well, then I read in your
6 report, that I read, that the Westinghouse CDFs are
7 four times the BNW? That was surprising.

8 MR. SCOTT: The total -- When we do this
9 calculation of prioritization, you have like cost
10 divided by person-rem avoided. My recollection it was
11 two or three times for the Westinghouse CE plants,
12 versus the BNW (audio gap)

13 We would call (audio gap)

14 DR. KRESS: So Westinghouse CDFs are four
15 times the BNW?

16 MR. SCOTT: Well I have the (audio gap) my
17 picture here --

18 DR. KRESS: I don't have the page, but this
19 was in the report that I read.

20 MR. SCOTT: Because this did come up last
21 time. I think we weren't crisp -- let me just see if
22 the numbers are here (audio gap)

23 DR. WALLIS: The Westinghouse number's
24 bigger. Four times as big. It's bigger. (audio gap) So
25 the question is why did you concentrate on the BNW

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (audio gap) available (audio gap)

2 MR. SCOTT: Yes. We think the -- If we find
3 out that it's a likely problem for one, the
4 implication is it's a likely problem for the other
5 one. Or if we could show there's not a problem for the
6 one, then it would not be a problem for the other.

7 And that's -- Originally we thought maybe
8 we could show that. The Westinghouse steam generator,
9 that we could get core enthalpies sequential and that
10 we could do this well enough and that would (audio
11 gap) for the other reactors (audio gap)

12 DR. WALLIS: Well, I don't know, I mean
13 they're quite different in design. Volumes are
14 different, (audio gap) sort of similar, but (audio
15 gap)

16 MR. SCOTT: This is 1×10^{-6} ?

17 DR. WALLIS: Yes, that's one.

18 MR. SCOTT: Okay, then I'm saying that
19 there are --

20 DR. WALLIS: Those are the same, but the
21 CDF numbers were about four times what Westinghouse.

22 I mean, you don't have to involve a reactivity expert
23 to see the --

24 MR. SCOTT: Yes, but we're only looking at

25 --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: That's all you're looking at?

2 MR. SCOTT: That there are ten times as
3 many Westinghouse and CE plants as there are --

4 DR. WALLIS: Okay, so they're comparable,
5 you're saying?

6 MR. SCOTT: Yes.

7 DR. WALLIS: Okay. (audio gap)

8 DR. RANSOM: Well, I guess you have to make
9 the argument that this is the worst case situation.

10 MR. SCOTT: That was probably part of the
11 --

12 DR. WALLIS: It wasn't clear to me that it
13 was a very good argument.

14 MR. SCOTT: Okay.

15 DR. WALLIS: Maybe someone can explain that
16 later on.

17 MR. SCOTT: Let me mention this. This is
18 the historical background that Bill Vandermullen wrote
19 in the report he did about two years ago. NRR sent
20 over a suggestion that because of this question about
21 the reactivity accidents in high burn-up fuel,

22 The criteria before say (audio gap) but
23 the criteria's still 280 calories per gram. We have
24 information from these test reactors in France, in
25 Japan, and Russia, that that number for high burn-up

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fuel might be around 100 calories; substantially
2 less. So we need to go back and look at these reactors
3 for this transient, what is the enthalpy, and what
4 would it now be if it was 200 calories per gram, that
5 would be less than the old limit.

6 And I also wanted to point out, it was
7 this high burn-up concern that triggered this. Also,
8 the fact that if you run the pump (audio gap) that's
9 what most (audio gap) bumping the pumps was going to
10 give you a larger transient.

11 Primarily based on interactions with NRR
12 (audio gap)

13 DR. WALLIS: Well the Westinghouse owner's
14 group didn't do the same kind of analysis that --

15 MR. SCOTT: Well, yes and no. And I'm now
16 going to have Professor DiMarzo start, and then David
17 Diamond. Maybe it will be confusing if we have -- the
18 handouts aren't here yet, but we can go get them -- if
19 I can't answer, I'll (audio gap) I think they're ready
20 now if we can go get them. (audio gap)

21 Do you want to go first? Second? Okay,
22 you'll have your slides up here and we'll try to get
23 the hand-outs as soon as we can. Let me answer, the
24 question is about (audio gap)

25 DR. WALLIS: You seemed to have something

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to go on in BNW, they had done analysis.

2 MR. SCOTT: Yes.

3 DR. WALLIS: But Westinghouse doesn't seem
4 to have done the same kind of analysis. I'm puzzled.

5 MR. SCOTT: Okay, and they did for AP600,
6 and combustion did for CE80, and I'll pick that up.

7 DR. WALLIS: Well, how about the existing
8 plant?

9 MR. SCOTT: None that I know of.

10 DR. KRESS: It's an issue and they didn't
11 analyze it?

12 MR. SCOTT: Well, they don't have to
13 analyze issues.

14 DR. WALLIS: They don't?

15 MR. SCOTT: It's research.

16 PARTICIPANT: It's a power safety issue.

17 DR. WALLIS: Your safety.

18 PARTICIPANT: BNW had commented -- they
19 made a presentation, they had done a certain level of
20 work which had spurred on a fair amount of creation of
21 (audio gap)

22 DR. WALLIS: I guess what concerns me is if
23 you're going to reach a conclusion that this is not an
24 issue for Westinghouse plants, but it could be the
25 basis for -- when should that be analyzed?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 PARTICIPANT: (audio gap) By the end of the
2 afternoon.

3 DR. KRESS: By the end of the afternoon?

4 DR. DiMARZO: Now, what is the rationale
5 for this idea? The idea is to avoid having to go and
6 estimate what the (audio gap) inside the vessel. In
7 that sense, the level of involvement is quite high.
8 But if we can avoid that, if we can try to pose the
9 issue (audio gap)

10 DR. KRESS: Just assume no mixing in the
11 vessel.

12 DR. DiMARZO: Now I want to assure you,
13 something I don't have the slides for this (audio gap)
14 get a sense of what we are talking about. You consider
15 (audio gap) proposed by the owner (audio gap) the
16 result of that calculation is this. (audio gap)
17 indicate that under (audio gap) primarily goes down,
18 from that point, some of it goes around, but there is
19 a (audio gap)

20 Going down, not up.

21 DR. WALLIS: What we're looking at here is
22 a downcomer?

23 DR. DiMARZO: Down (audio gap) operation is
24 (audio gap) this is now cold leg (audio gap) open,
25 unwrapped, down (audio gap) and you can (audio gap)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the level (audio gap) comes through (audio gap)

2 DR. KRESS: We're looking right into the
3 hot leg inlay?

4 DR. DIMARZO: Right into the cold leg out.

5 DR. KRESS: Oh, it's the cold leg.

6 DR. WALLIS: It's up there because it's
7 lighter or something?

8 MR. DiMARZO: No, this is the totally same
9 condition; same weights and everything. Nothing under
10 that cold leg.

11 DR. KRESS: Why does it do that?

12 MR. DiMARZO: That I don't know, but that's
13 what it does repeatedly. What happens actually is
14 that it shows up -- that region remains such. The
15 momentum that carries it around is enough. What
16 separates the (audio gap) fact that in the downcomer
17 there is an enlargement, (audio gap) reinforcement,
18 penetration of the leg.

19 And that is the (audio gap) in other
20 words, that is the roll-off (audio gap) number of
21 repeat tests (audio gap)

22 DR. WALLIS: Is this because it's got a
23 high velocity, so it spreads out in all directions?

24 MR. DiMARZO: All kinds of things, but what
25 I'm trying to say is that there is going to be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 extremely complex to make scaling out from a huge
2 scale, a large scale, it's going to be extremely
3 complex to get the CFD code essentially validated.

4 DR. WALLIS: The CFD code seems to disagree
5 with the --

6 MR. DiMARZO: Please. But the problem is if
7 you are going down the road of calculating and
8 evaluating the in-vessel, what I'm trying to show you
9 here is that this isn't going to be a very easy, and
10 I don't know where that road's going.

11 DR. KRESS: Well, you've got to finesse
12 that problem.

13 DR. DiMARZO: I'm trying to say it's not
14 going to be an easy task.

15 DR. WALLIS: So you're saying that is a
16 realistic calculation.

17 MR. DiMARZO: First of all, it could be
18 possible. I don't know how time-consuming and how
19 expensive that is.

20 DR. KRESS: You would make a --

21 MR. DiMARZO: -- I don't have any idea what
22 we --

23 DR. WALLIS: You want to make a bounding
24 calculation?

25 MR. DiMARZO: So I'm going to say, let me

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 talk with -- (audio gap) When I take this slide, and
2 I try to move it through the entrance of the down
3 pump. So all I'm interested in essentially are the
4 pipes, the steam generator and the pipes, and the cold
5 legs leading to the vessel.

6 Of course we'll see, we'll get a slug and
7 we'll move it through.

8 The key feature of the model, keep in mind
9 that this is just the model. We see that in all the
10 systems there are two things involved. One is the
11 pump. (audio gap) the reasoning for that, here you're
12 coming out of the tube, you're borated, actually you
13 have jets of borated water, therefore this jet will
14 mix. This volume, in the end, will be completely
15 mixed. Inlet situation will happen in the pump due to
16 the (audio gap).

17 DR. WALLIS: You're saying that vessel
18 (audio gap) criticality (audio gap) theory, and here
19 you have theory with no experiment at all.

20 (audio gap) dead air on CD (audio gap) the
21 legs you transport, you just move this blocked flow,
22 and then in those volumes you have so-called back-mix
23 (audio gap), which basically means the steaming
24 volume.

25 And you add those three in. This is the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 transfer function for such a volume. Where C NOT
2 (audio gap) is the initial concentration, C lambda is
3 the historical concentration that you can put him in,
4 and C theta is a function of this time, is the
5 concentration that gets out of the pot. That's just
6 old stuff, mechanical engineering reactor. So it's a
7 very simple model. Now how do we do it? So, there were
8 some tests performed at Maryland a long time ago that
9 basically had a situation where the system was full of
10 warm water. An interesting pictorial so you can
11 understand what was done. System is full of hot water,
12 up to a point. Now you are going to introduce, from
13 the bottom of the cold legs, actually from here, cold
14 water, changing.

15 And so you have a lump of cold water, like
16 there. But up to the same elevation. There is water
17 above that. There is warm water above that. So that is
18 a way to simulate the temperature, a situation like in
19 concentration.

20 It's that accurate in that you have a
21 transfer to go on, but that's mine.

22 DR. KRESS: That assumes that all the
23 transfer takes place --

24 DR. DiMARZO: Yes, you have a mixing
25 process, and temperature is your figure of measure, as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 opposed to concentration.

2 DR. KRESS: The thermal conductivity --

3 DR. DiMARZO: It's a thermal mix, between
4 -- a slug of cold water and warm water above.

5 CHAIRMAN WALLIS: Now, this black stuff
6 here, this is --

7 MR. DiMARZO: Cold water.

8 CHAIRMAN WALLIS: And cold water fills legs
9 and part of the steam generator.

10 MR. DiMARZO: And part of the steam
11 generator.

12 CHAIRMAN WALLIS: On the outside of the
13 tube.

14 MR. DiMARZO: No. This is inside of the
15 tube.

16 CHAIRMAN WALLIS: Then on the outside of
17 the tubes you have the --

18 MR. DiMARZO: Same. These are the -- It's
19 just a --

20 CHAIRMAN WALLIS: So, why are you
21 introducing something at the bottom there? Where is
22 it coming from?

23 MR. DiMARZO: I put something in the cold
24 leg and I let it rise, pushing the warm water that was
25 there up.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: So where's it coming
2 from?

3 MR. DiMARZO: Oh, from a pipe.

4 CHAIRMAN WALLIS: No, I mean, in terms of
5 simulating the reactor.

6 MR. DiMARZO: Oh no, this is to validate
7 the model. And dealing with a --

8 CHAIRMAN WALLIS: We aren't simulating a
9 scenario at all?

10 MR. DiMARZO: We haven't done anything of
11 that yet. We are saying, I want to model the transfer
12 of a slug with that simple model. So let me make a
13 slug in a geometry that's reasonably close to what
14 we're dealing with, and validate that model. That's all
15 I'm doing. It doesn't have anything to do with
16 pressure distinction. It's just a -- You said, this
17 is just a model. I can now make some data to show you
18 that the model is somewhat reasonable.

19 CHAIRMAN WALLIS: You're in a place where
20 you say there is perfect mixing?

21 MR. DiMARZO: I put this cold water in,
22 very gently, and what I'm saying now is that this
23 water here, when I move it, we'll see, this prong,
24 we'll see the two-prong mixing volume, while the tail,
25 which is down back by warmer water.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We'll see the outer plenum first, as a
2 mixing volume, and after that the pump. So, the front
3 of this slug will go through, just the pumps. So it
4 will be mixed relative to that volume.

5 The tail of this slug will go through the
6 steam generator of the plenum, and then successively
7 after the pump. So it will see two stages of mix. All
8 right?

9 Now this is summarized --

10 CHAIRMAN WALLIS: By "slug" you mean the
11 slug you injected --

12 MR. DiMARZO: That cold water mark.

13 DR. POWERS: Now just to be clear. You're
14 thinking the -- with this simulation the cold water
15 represents the borated fuel?

16 MR. DiMARZO: Well, you could say that or
17 you could not. What I'm only trying to say is to
18 validate the transfer mixing model. We could do that
19 completely in thermal, or we could do that -- You
20 know, I could do any kind of thing.

21 I'm just simply stating, in that geometry,
22 or in something that looks like that geometry, let's
23 see if such a simple model based on very simple
24 analysis, gives us a reasonable result. That's all I'm
25 trying to say.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 There's no relationship to the issue yet.
2 Okay? I'm just building myself a tool to analyze the
3 more complex situation later. This is the comparison
4 with the data. Now, the front is obviously sharper,
5 the data is obviously the top, and the line is what
6 you get out of that model.

7 The front is clearly sharper because
8 you're going only to one mixing model.

9 CHAIRMAN WALLIS: Are you measuring this at
10 the outlet from the pump?

11 MR. DiMARZO: I'm measuring this at the
12 downcomer inlet.

13 CHAIRMAN WALLIS: You didn't show that in
14 the previous figure. So it's the outlet of the pump?

15 MR. DiMARZO: But let's face it.

16 CHAIRMAN WALLIS: When you say it was set
17 by using electrical --

18 MR. DiMARZO: This is a temperature in the
19 tank, okay?

20 CHAIRMAN WALLIS: So why is the first slug
21 just that black stuff? I don't understand -- Why
22 doesn't it just drive that black stuff up to the top
23 of the building to start with.

24 MR. DiMARZO: This thing goes through here,
25 no mixing at all, it's just a half, a top half

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 distribution up to here. Then it comes in here and
2 steers that little volume. And through the transfer
3 function comes out --

4 CHAIRMAN WALLIS: What is it mixed with?

5 MR. DiMARZO: It has been cut off, it is
6 directing warm water above it.

7 CHAIRMAN WALLIS: Oh, there's another water
8 on top.

9 MR. DiMARZO: Yes, yes. This is injected
10 under the cold water which is displaced up.

11 CHAIRMAN WALLIS: So the black stuff is the
12 injected stuff? I thought it was --

13 MR. DiMARZO: Gently inserted --

14 CHAIRMAN WALLIS: I'm sorry, I thought this
15 was the starting condition you showed us here.

16 MR. DiMARZO: Absolutely.

17 CHAIRMAN WALLIS: But it's not.

18 MR. DiMARZO: But above it all the white
19 represents warm water.

20 CHAIRMAN WALLIS: So you've already
21 injected some stuff when you're showing this picture?
22 Yes.

23 MR. DiMARZO: The system is full of hot
24 water. I am putting gently through the cold water in.

25 CHAIRMAN WALLIS: And it's filling up from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the bottom.

2 MR. DiMARZO: And then I move it.

3 CHAIRMAN WALLIS: See I didn't understand.
4 I thought you said this was the initial condition, and
5 then you started injecting.

6 MR. DiMARZO: No, no.

7 CHAIRMAN WALLIS: No.

8 MR. DiMARZO: I put that in place, I turn
9 on the pump. And then I measure the temperature
10 provided at the entrance of the pump. That's what you
11 get. First you see the front come into it. The trunk
12 has been mixed into the pump only.

13 Then comes the tail. The tail mixes with
14 the steam generator of the plenum. Because now the
15 steam generator of the plenum is totally engulfed in
16 the so-called deborated, or cold water.

17 CHAIRMAN WALLIS: That's because it's come
18 down from the steam generator.

19 MR. DiMARZO: It's coming from the steam
20 generator, and sees now this colder water, but it's
21 coming into jets, into that, and mixes. The result of
22 that is that there's some mixing.

23 Then all this mixed front transfers
24 through the pump, and therefore gets --

25 CHAIRMAN WALLIS: Okay, now let's get this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 straight. It's flowing because you turned the pump on.
2 It's not flowing because you injected.

3 MR. DiMARZO: Right. And so this is now
4 saying that as long as you turn on the pump and
5 everything and the mixing is such and such, this
6 model, this very simple crude model, does a very good
7 job.

8 DR. KRESS: You had to apply the model in
9 two places?

10 MR. DiMARZO: Yes. Two mix --

11 DR. KRESS: Combine the solutions of those
12 two.

13 MR. DiMARZO: Remember that this saturates
14 completely, so there is no information passing from
15 the front to the tail. Now --

16 DR. KRESS: Physically, why does the
17 temperature go down?

18 MR. DiMARZO: Here?

19 DR. KRESS: Yes.

20 MR. DiMARZO: Because this is all upside
21 down. We are going cold. If this was in terms of
22 temperature it would look like this. Going up. The
23 cold water is 20 degrees, the rest is maybe 50 or so.

24 So this here is 50 and this down here is
25 20, something like that. Okay? And then all this --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. FORD: And it will go up?

2 MR. DiMARZO: It will go up again to
3 whatever this water mixed with the other water,
4 whatever that is. Slightly less than 50, because we
5 now introduce this --

6 DR. KRESS: It will eventually approach
7 that.

8 MR. DiMARZO: Eventually.

9 DR. KRESS: If you've got an infinite
10 amount of hot water --

11 MR. DiMARZO: Eventually. I mean if it was
12 all cold water, huge system, it would go to 50. Right.
13 So this is the model that I'm going to now use to get
14 an estimate in the reality.

15 Why am I doing that? Because the geometry
16 is long, so to speak. It's not that different in scale
17 since we're only dealing with volume. It's either
18 fully mixed or zero mixed. So there are no -- how can
19 I say -- issue associated to partial mix. It's either
20 all or none.

21 So if all that matters is how big is that
22 volume where all happens. Now one can argue does
23 clearly all the plant volume mixes or not? And that's
24 an argument that remains unvalidated.

25 DR. FORD: Don't you have a problem with --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 This is a very simple model.

2 MR. DiMARZO: Yes.

3 DR. FORD: Applied to a very simple
4 geometry. And it works. Why didn't -- See now you're
5 making the assumption, applying it to a more complex
6 --

7 MR. DiMARZO: With downcomer I wouldn't
8 even dare to do this, because downcomer is a much more
9 complex situation, because you have a partial mix.
10 Whereas this indicates that the steam generator of the
11 plenum pretty much is all mixed, because you have all
12 these jets coming out of the tubes.

13 And the pump volume, especially when the
14 pump dries.

15 DR. KRESS: Basically, the model event is
16 you have volume, and you're injecting some stuff into
17 it. Each increment that goes in there instantaneously
18 gets fully mixed. And that's the basis that you get
19 these transfer functions from.

20 If you use that and you're flowing out at
21 the same rate, a different concentration. So if you
22 take that you'll get this transfer function.

23 MR. DiMARZO: And it doesn't work that bad.

24 DR. KRESS: Yes, that's pretty good.

25 MR. DiMARZO: That's all I'm saying.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: So the black stuff was
2 cold water?

3 MR. DiMARZO: The black stuff was cold
4 water.

5 CHAIRMAN WALLIS: So one reason the hot
6 water stayed on top of it was because it was lighter?

7 MR. DiMARZO: Because it was lighter,
8 absolutely.

9 CHAIRMAN WALLIS: Which doesn't happen with
10 your borated water quite the same way.

11 MR. DiMARZO: We can see. We have a number
12 of tests in all kinds of situations with salt, and
13 steam pressure to do --

14 CHAIRMAN WALLIS: But your cold-hot is
15 inhibiting mixing.

16 MR. DiMARZO: Yes, absolutely.

17 CHAIRMAN WALLIS: Is that realistic in
18 terms of what the borated water would do?

19 MR. DiMARZO: It would be like a tube. The
20 same thing. The cold water against the deborated water
21 is like salt water against --

22 CHAIRMAN WALLIS: So in the steam generator
23 there would be more mixing.

24 MR. DiMARZO: Yes, so it would be
25 conservative.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: Would it be conservative?

2 MR. DiMARZO: Yes, but there would be
3 borated water mixing that you --

4 DR. KRESS: Concerning from the standpoint
5 of -- he wants to know how much boron is in the tank.

6 CHAIRMAN WALLIS: So generally the idea is
7 the more mixing you have --

8 DR. KRESS: The more boron you've got going
9 in --

10 CHAIRMAN WALLIS: The less conservative.

11 DR. KRESS: No, the more mixing is --

12 MR. DiMARZO: The more mixing is less
13 conservative.

14 DR. KRESS: Yes.

15 CHAIRMAN WALLIS: The worst thing would be
16 to have no mixing.

17 MR. DiMARZO: If it's very sharp, it's
18 working. As you will see in a minute. So now, this
19 doesn't have anything to do with the issue. Now we go
20 into the issue.

21 CHAIRMAN WALLIS: It doesn't have anything
22 to do with this?

23 MR. DiMARZO: It's just a model.

24 DR. KRESS: Well, it's a way of finding out
25 how much boron is going in.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DiMARZO: It's a way to deal with --
2 Because last time it was suspicious when we got boron
3 back at this time. What is the other group coming up
4 with?

5 They come up with a slug of 22.3 meters
6 cubed. They come up with a presumption of natural
7 circulation at a rate of 0.2 meter cubed percent. They
8 state, this is how fast the steam can move through.

9 I show you how they got that. I am not
10 interested in spending a lot of time, neither are you,
11 because we're going to do a bounding case which is
12 much worse than that.

13 But anyway, they build up a scenario for
14 which they build up a slug, or an initial condition.
15 And then they proceed to move it at that rate through
16 the vessel. Through the pipe, through everything.

17 So what do they do? Well, this is
18 important, because in a way builds up to higher,
19 evolved, natural circulation scenario. So, in that
20 sense, it's interesting.

21 You've got this break. Obviously, the
22 pressure drops down, at CP entry. Now, eventually your
23 HPI injections are deficient compared to the break
24 flow, so your inventory drops.

25 At some point, you go to two-phase natural

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 circulation, which carries over water over the candy
2 cane, at some point the level drops even further, and
3 it is impossible for this water to make it through.

4 At that time, BCM initiates. So you're
5 basically pouring the water in the basin, generate
6 vapor, the vapor travels through the candy cane, into
7 the steam generator. You have a secondary slug
8 elevation which is above the level of the meter.

9 That as a condensing surface exposed, that
10 vapor condenses on that condensing surface, and
11 because it's on top of what's there. That is the
12 mechanism by which you're going to generate the
13 deborated, and we have to add the water concentration
14 on that BWOG and so forth, but we will document it.

15 So you pick up that thing, basically one
16 hour, less than an hour, something on the order of one
17 hour, gets you this deborated.

18 CHAIRMAN WALLIS: It would be nice if you
19 had a figure showing the sort of state of things at
20 that point.

21 MR. DiMARZO: I do.

22 CHAIRMAN WALLIS: Okay.

23 MR. DiMARZO: This is just what they
24 presented. So I'm getting to that when I do my next
25 slide.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: Well, we have to
2 visualize what's going on.

3 MR. DiMARZO: Okay, I will jump ahead.

4 MR. SCOTT: But there, in order to get to
5 where he's at now --

6 MR. DiMARZO: Yes, yes. The maximum you can
7 do is this. You are fielding all that volume, roughly
8 speaking, of deborated water. And one can argue how
9 exactly this level is.

10 CHAIRMAN WALLIS: So it's the worst it
11 could be.

12 MR. DiMARZO: That's the worst it could be.

13 DR. KRESS: Is that the 23 cubic meters?

14 MR. DiMARZO: No, no. That's much more.
15 That's why --

16 DR. KRESS: That's much more.

17 MR. DiMARZO: It gets confusing to jump
18 ahead. If you let me go with my slides it will be more
19 clear.

20 CHAIRMAN WALLIS: No, actually what I was
21 asking for, was it's nice to have a figure showing how
22 the condensation is happening and I guess, I'm not
23 saying you have to do it now, it would just be nice
24 for the presentation to -- we have to visualize how
25 it's happening.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DiMARZO: I see. It's somewhere. Okay.
2 So the secondary slug is roughly speaking at this
3 elevation here. The primary slug is somewhat below
4 that.

5 CHAIRMAN WALLIS: Why the lowered loop is
6 worse, because you have more places to collect the
7 slug.

8 MR. DiMARZO: That goes exactly to your
9 original question of why this is --

10 CHAIRMAN WALLIS: Why was it?

11 MR. DiMARZO: The problem is not
12 conforming, only to confirm it in any plan. The
13 problem is that you've got the segregated into the
14 plan ready. Because in order to move it, a lot of
15 other things have to happen.

16 And I'll go back to the original slide and
17 show you what has to happen before we can move it. So
18 in order to form it it's fine, but then you've got to
19 have a storage place to hold it there, until you are
20 ready to move it.

21 And that limits severely what the impact
22 is on your other plants. So now here we go with the
23 continuation of the scenario that the other group put
24 forward.

25 So at some point now, the BCM is finished,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you've got all this water packed up in that volume,
2 you've got lower portion of the primary system on the
3 steam generator side.

4 And something else, for which now the HPI
5 injection exceeds the break flow. Whatever the
6 situation is. So you refill. Now, this is very
7 important.

8 If you refill very slowly, you're going to
9 mix quite a bit. And I'll show you exactly how. Let's
10 assume for sake of argument that two refills break
11 past, for some reason. The balance is such that they
12 break past.

13 If you refill pretty fast, the core is
14 going to be so cooled, because you're dumping in there
15 all this cold water. So you're not going to have a
16 resumption of two-phase natural circulation.

17 You're going to have a resumption of
18 single-phase natural circulation, because this thing
19 is so cool. In order to have a resumption of single-
20 phase natural circulation, the system must fill
21 completely, to the top.

22 In fact, you also have to intervene and
23 vent the top of the candy cane in order to have this
24 thing to start.

25 CHAIRMAN WALLIS: Then it spills over the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 top.

2 MR. DiMARZO: So that it spills over the
3 top, but you are raising this deborated, you are
4 raising the borated on the other side, and when they
5 get together, this thing can start flowing.

6 So the deborated is piped, whereas in the
7 back, borated water. Which in a way is true in this
8 state. But if we can do this fast enough, that front
9 could be still pretty sharp.

10 So, we are advocating a fast transient in
11 the refill mode in order to mix the least amount
12 possible. So we're trying to constrain this. If you
13 refill slowly, you may reach the threshold in the
14 process of refilling.

15 If you reach separation, you can
16 potentially go into two-phase flow, natural
17 circulation resumption. But as soon as the system
18 starts moving in that mode, you'll throw cold water in
19 the system which will quench everything and stop.

20 And then the process will repeat itself.
21 So if you want to go slow, the problem you have is
22 that there's an intermittent stop. It's start and stop
23 and start and stop, two or three times. And at that
24 point, once you start moving a slug that way, you'll
25 speed it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Because every time you chug it up and
2 down, this thing --

3 CHAIRMAN WALLIS: Now, you've given a word
4 description. Is there some corresponding analytical
5 description and prediction?

6 MR. DiMARZO: Yes. So this -- At the end of
7 that scenario, once these two steam have met, and you
8 are ready to move the slug in natural circulation,
9 this is where the slug is.

10 That's all B&W wants to do. Let's examine
11 what we have. The cold leg leading to the cold leg at
12 the bottom of the system, basically, this portion here
13 of the cold leg is kind of mixed, and transitions come
14 by at that time.

15 This is the steam generator lower plenum.
16 Then the concentration in the lower portion of the
17 tube is very low. Then the center portion of the tube
18 is at this volume. The very front portion of the tube
19 is at this volume.

20 And then you have the steam generator in
21 the inlet plenum at this volume. And obviously here is
22 the deborated that is coming in from the HPI. So this
23 is the idea on where the slug is when natural
24 circulation decides to resume. Okay?

25 So, let's note the two things. The first

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 thing that you note is that this front is quite
2 smeared, the way they built it. Our bounding case will
3 be a sharp front, will be top-half distribution.

4 Second, not all the steam generator is
5 involved totally with deborated, but only a portion of
6 it. So the total volume of a break event deborated is
7 22.3 as I said. So it's not the maximum possible
8 volume.

9 So in order to pictorially represent this
10 in the system, I used this way. But basically this
11 dashing means that you don't have full, one hundred
12 percent fresh water. The only region in which you have
13 full, fresh water is probably at the bottom of the
14 steam generator according to that model.

15 And that is not that cold. But you have a
16 smeared tail, and most important a smeared front, in
17 their model. Now you have seen all these last time,
18 when they use some mixing volume that they have, which
19 I can't speak for their assumption, they get this to
20 be what should be used at the entrance of the core.

21 Okay? They identify it as Framatome. Two
22 tests were done by David Diamond on that. One to check
23 the neutronics, and one to see what was going to come
24 out of it using this, okay? Using this model.

25 When I use my ex-vessel mixing model, not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 accounting for the downcomer mix, which they do, I
2 come with a most severe curve for the same exact slug.
3 As you can see, the volumes under the curves are the
4 same.

5 So it's the same slug, just the fact that
6 mine is much less mixed than theirs, because I go only
7 to those little valleys. And that is the third
8 calculation that was done last time.

9 All this re-calculation showed that in as
10 far as the neutronics goes, there is no change, in
11 terms of fuel.

12 CHAIRMAN WALLIS: So you're saying the
13 Framatome is a measurement?

14 MR. DiMARZO: No. They did some mixing
15 models that I cannot really understand exactly, but
16 they are -- and I should not report as to how they did
17 that.

18 CHAIRMAN WALLIS: So neither of those two
19 codes are actually --

20 MR. DiMARZO: No.

21 CHAIRMAN WALLIS: Yours is a limiting
22 analysis of making extreme assumptions?

23 MR. DiMARZO: Of just this coolant. Now,
24 let's move on. Let's now imagine what we could call
25 the worst possible situation. First of all, let's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 consider how big the slug would be.

2 And instead of being 22 cubic meters, I
3 can make a slug of 46 cubic meters. That is a slug
4 that fits both slots, all the cold legs, and all the
5 steam generator at that elevation.

6 More than that, you cannot possibly put in
7 there, because you have no means of storing it there.
8 So that is the largest possible volume that you can
9 store a slug in.

10 So I took that. That's a bounding case.
11 There's no way you can put more water in there.
12 Second, I took the natural circulation flow rate, a
13 pump that indicates heat, which turns out to be 0.58
14 meters cubed per second, which is about three times
15 faster than what they do.

16 That, you will see, is extremely
17 important, because when you push the front tube, it's
18 very important how sharp that front is. So I took the
19 maximum possible low-velocity that I could find.

20 All right. Then I make two cases. The
21 first is the usual case. It's the case that in
22 principle one could conceive. And then I did a very
23 outlandish case, just to make sure it won't fall in
24 that.

25 DR. KRESS: And the circulation rate,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that's the amount of steam per second, one percent of
2 the K heat you produce?

3 MR. DiMARZO: That's right. That's
4 basically what it is. So, formation. The largest slug
5 that I can possibly form is this volume here. There is
6 no other way that I can do more, because here there is
7 an HPI going on.

8 We are limited, and so this water can
9 essentially flow out of here, overflowing there and
10 swamping the HPI. So there's no way of doing that. On
11 top we cannot go, because there cannot be high, too
12 much, so that's basically capped.

13 So now, cascade. Now, what do I have to
14 do. I have to fill the system very fast, so that it
15 becomes liquid salt. I want to do that very fast. Let
16 me try to explain to you what the situation is here.

17 You're going to put more HPI through this
18 location. This HPI can basically plug this side and
19 push this thing up. Correct? So now, you have cold
20 water, colder than this water here, borated water, so
21 there's no question that it's heavy.

22 It's got more salt in it, and it's cold.
23 It's trying to push ahead warmer water, fresh. So if
24 you don't do that fast enough, they'll mix. Because
25 this is buoyant with respect to the other.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And so they'll inevitably mix. If they
2 mix, they smear my front. And they make this job,
3 leaving you and your drawings, which is more
4 complacent. So I don't want to do that. I want to go
5 fast.

6 So if I go very fast, I can imagine to
7 retain that front totally un-mixed. The system has to
8 be so cool at that point, it goes without saying.
9 Because I have to go fast.

10 So I'm pumping in the system a lot of cold
11 water. This has to be a true single-phase natural
12 circulation, so they've got to meet at the top before
13 they are converted and can begin and get the flow
14 going.

15 If I take that volume and I move it at the
16 top, it will fit all up into the tube of the steam
17 generator. All right? So that is a realistic
18 situation.

19 At least, you'd have to work very hard to
20 make it happen in reality, but I mean, consider it.
21 You can handle it.

22 CHAIRMAN WALLIS: Well, actually, it's
23 filling from -- the HPI is filling in both directions.

24 MR. DiMARZO: Yes, but --

25 CHAIRMAN WALLIS: So the slug doesn't have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to go all the way to the top of the steam generator?

2 MR. DiMARZO: Yes, because gravity starts
3 -- the two level has to come up at the same level. At
4 the same -- This is a new tube, until you get to the
5 top. You can't have it unbalanced, because how do you
6 hold that --

7 CHAIRMAN WALLIS: But maybe I'm filling up
8 faster on the reactor side, so it comes over the top.

9 MR. DiMARZO: You fill from here. It's like
10 you fill a U tube. Doesn't matter where you fill the
11 U tube, the two levels are the same.

12 CHAIRMAN WALLIS: I see what you mean.

13 MR. DiMARZO: You have some slight
14 difference in measurements of temperature, okay, but
15 that's all you can get.

16 CHAIRMAN WALLIS: No voids anywhere. Except
17 at the top.

18 MR. DiMARZO: No voids anywhere. Except at
19 the top. But you're meant to, condensing. So it's got
20 to go down that way. If I do that, that's called Case
21 A, and I then have to pass the slug through the steam
22 generator of the plenum, where it can mix, and then
23 through two pumps.

24 The curve that I'm dealing with is this
25 curve here. The solid curve. This curve has about 70

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ppm per second dropped. From the initial 3500 ppm,
2 you're dropping at the rate of 70 ppm per second. Keep
3 that number in mind just for reference.

4 Let me do now an outline the shapes. Just
5 to say that, you know, we don't want to know anything,
6 it's the maximum possible thing. Let's imagine that
7 for some reason, and frankly speaking being
8 experimental it's simple to know how to do this.

9 You have the front of the slug passing at
10 the beginning in this situation. This cannot be,
11 because inevitably this heavier water will mix with
12 this lighter water.

13 So I don't really know how to make this
14 happen (1), (2) I don't really know how to make
15 natural circulation happen, because I have a void at
16 the top.

17 CHAIRMAN WALLIS: But this is extreme,
18 because now it can't mix in the lower plenum of the
19 steam generator?

20 MR. DiMARZO: Right. But this is more
21 extreme, because I only account for the pump. But
22 realize that I cannot do this. We would be hard-
23 pressed to do the experiment, because you can't do it.

24 CHAIRMAN WALLIS: But you can still
25 visualize it as an extreme case.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DiMARZO: Very extreme. I would call it
2 outlandish because it doesn't have much of a
3 practicality in actually doing it. I realize it's an
4 experiment.

5 CHAIRMAN WALLIS: But it's very useful to
6 have a limiting case.

7 MR. DiMARZO: Exactly. So that case is Case
8 A -- is Case B. We go from 70 ppm per second to 150
9 ppm per second dropping in that so-called experiment
10 of the mind. All right?

11 Both these experiments, the natural
12 circulation would be handled by Dave Diamond in the
13 forum for circulation. Now let's switch gear. And
14 let's say, what about if I pump?

15 If you pump, you have a tremendous degree
16 of freedom. Because you can pump any time you want.
17 You can go there, switch this thing on, any time you
18 decide. So there is no limitation on where the slug
19 should be at that point.

20 The worst possible case is if the slug is
21 somewhere before the pump, so that the front goes only
22 to the pump, and the tail goes to the back. That's the
23 case we're going to examine.

24 We're going to take a very benign pump.
25 The slug bottom is only 28 meters cubed, as opposed to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 46 meters cubed, which is the maximum. So it's a very
2 small -- it's a rather small slug.

3 CHAIRMAN WALLIS: Why is it smaller?

4 MR. DiMARZO: Just making the schedule, see
5 we are already in trouble right there. So I'm just
6 picking a case.

7 CHAIRMAN WALLIS: Oh no, it's got to be
8 small for a reason.

9 DR. KRESS: Well if it already gives you a
10 problem, why worry about a bigger one?

11 MR. DiMARZO: I'm just trying to show you
12 a case, and I am showing you that we really are in
13 trouble right there. So pumping is out of the
14 question. If you want to make a bigger slug --

15 CHAIRMAN WALLIS: Okay, so if it were 46 it
16 would be worse.

17 MR. DiMARZO: Exactly.

18 CHAIRMAN WALLIS: I thought you were going
19 to show us you didn't have a problem.

20 MR. DiMARZO: No, it's not going to happen
21 like that. The second thing I'm doing is I'm already
22 trying -- identifying that there's a slug stuck in the
23 pump.

24 And I'm saying, when everything is said
25 and done, the speed to which all the slug goes through

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the vessel is past the steady straight speed for the
2 pump. This is absolutely no concern. Very, very
3 benign. It'll go much faster than that.

4 Okay? Now in spite of all this, I mean
5 with all these modifications, I still have to account
6 for one thing, that when I --

7 CHAIRMAN WALLIS: So the reality might well
8 be worse --

9 MR. DiMARZO: Worse. There is no problem
10 making it worse, okay? But when you start the pump,
11 you draw water from the other leg. There is an inter-
12 leg circulation that you have to account for.

13 Now, I'm making the assumption that what's
14 drawn from this leg and mixed with this leg is totally
15 borated. That's also non-conservative, because in the
16 reality it will draw from the discharge of the first
17 leg.

18 So it should be a little less borated than
19 what you think. So that's another mitigating
20 assumption. So at the end of the day I come up with
21 this.

22 We are dealing now with 1500 ppm per
23 second drop. One order of magnitude larger than the
24 worst conceivable case in natural circulation. And
25 this is not extreme at all. It's very, very benign.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 But that gives you an idea of what type of
2 a drop you can afford before getting into trouble. So
3 now I give it to David Diamond, who's going to give
4 you the consequences that you've done some fuel damage
5 in your pumps.

6 So Case A is, again, the maximum slug at
7 the maximum flow rate with the reasonable assumption
8 as to where it is and how it moves. The second Case B
9 is that, what I call, outlandish case, because it's
10 kind of a figment of my imagination worst case.

11 And then the last case is going to be the
12 pump case.

13 CHAIRMAN WALLIS: But the pump case,
14 whereas in the previous case you said you're making
15 some extreme assumptions, in the pump case --

16 MR. DiMARZO: Very benign.

17 CHAIRMAN WALLIS: You're doing benign, so
18 you would change your philosophy a bit.

19 MR. DiMARZO: I could make it much worse.
20 Doesn't change the ends. If it's worse and it works,
21 it still works.

22 CHAIRMAN WALLIS: And the only time that it
23 had any experiment versus observation was a very early
24 University of Maryland experiment.

25 MR. DiMARZO: When they did the vessel.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now, to make do, we tried to do additional
2 experiments. We used your facility to have a blind
3 check of that model.

4 Unfortunately, year 1000 came in that
5 process, and basically the facility was not available
6 anymore to do that thing. We can go back and do more
7 of that, but then --

8 CHAIRMAN WALLIS: Why don't they just run
9 RELAP or something like that and see what it predicts?

10 DR. KRESS: No, we wouldn't --

11 CHAIRMAN WALLIS: Why not?

12 DR. KRESS: RELAP doesn't know how to mix
13 it.

14 CHAIRMAN WALLIS: Well, RELAP is relied
15 upon for other situations. I mean, it's so bad that
16 it's hopeless for this purpose?

17 DR. KRESS: RELAP is --

18 MR. SCOTT: There's paper in the literature
19 that Kent State did for Westinghouse AP600 plant, and
20 they found that they had to use a so-called high order
21 salute tracking model, which RELAP doesn't have, so --

22 MR. DiMARZO: It's as if you have to
23 replace, so it's a --

24 CHAIRMAN WALLIS: RELAP does track boron,
25 doesn't it?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SCOTT: Yes it does, but this is moving
2 beyond a couple of meters. Anyway, David.

3 MR. DiMARZO: And then I'll come back up
4 for the conclusion.

5 CHAIRMAN WALLIS: It gives me a little bit
6 of an uneasy feeling. I mean, you have to develop your
7 own ad hoc analyses for this because there's no code
8 which is capable of doing it.

9 Is that right?

10 MR. DIAMOND: You need a turbulence model
11 to answer that mixing, which RELAP doesn't have.

12 CHAIRMAN WALLIS: Well the CFD you did
13 charge it and agree with experiments before --

14 MR. DiMARZO: No, the CFD was about the
15 vessel.

16 CHAIRMAN WALLIS: I know, but, well you did
17 try --

18 MR. DiMARZO: We could do a CFD about the
19 pipes, that's okay. We didn't do that.

20 CHAIRMAN WALLIS: Well, if it didn't agree
21 with the vessel, why would it be useful?

22 MR. DiMARZO: The point is when somebody's
23 simple model worked --

24 CHAIRMAN WALLIS: So we should maybe throw
25 away covers and do simple models every time?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. KRESS: Well, there's a lot to be said
2 for that.

3 MR. DIAMOND: Another key player in that
4 type of work is Jose Narnbauch, who just got up and
5 walked out. But he developed the remix code, which is
6 a special application code for trees.

7 CHAIRMAN WALLIS: This is the field --

8 DR. KRESS: That goes a way back, yes.

9 MR. DIAMOND: Yes.

10 DR. KRESS: That goes way back.

11 MR. DIAMOND: Yes. Anyway, before I answer
12 -- or before I continue along the same lines as Marino
13 was starting on, and show you the results using those
14 new curves that Marino has generated.

15 Let me go back to the presentation that I
16 made in June, and let me show the last slide from that
17 presentation so you remember a little bit about what
18 I was talking about at that time.

19 I had showed some comparisons of our
20 calculations, which are based on a PARCS/RELAPS model,
21 so it's a three-dimensional neutronics model. And I
22 had showed those in comparison with the B&W Owners'
23 Group calculations, which were a point model.

24 And we saw that the 3-D analysis gives a
25 lower imaging deposition relative to point kinetics.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We also showed that the evolution of the energy
2 deposition for the boron dilution event is much slower
3 than the rod ejection accident, which is the design
4 basis reactivity accident.

5 And what we discussed also is the fact
6 that thermal hydraulic feedback limits the fuel
7 enthalpy during the boron dilution accident, and that
8 was for the cases that we looked at at that time,
9 which were the natural circulation cases with the
10 original curves that Marino had generated.

11 In those cases, the initial enthalpy
12 increase was the less than twenty-five calories per
13 gram, which is rather small in terms of fuel damage.
14 We saw a void formation during those events.

15 It was sporadic. D&B might be possible in
16 more severe cases, and you'll see that a little bit
17 more in the cases that I'm going to show. We also
18 noted that we have made comparisons with a completely
19 independent code package.

20 Independent in the neutronics aspects, and
21 that's the BARS/RELAP five code, and the comparisons
22 I claimed were good, although I didn't show any.

23 CHAIRMAN WALLIS: Just a second, how did
24 you get to this point?

25 MR. DIAMOND: RELAP is no good for the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 mixing analysis. Where we used RELAP is just for the
2 simple boron transport and the thermal hydraulic
3 conditions in the core after the restart of the
4 natural circulation or pump.

5 The questions that had arisen earlier,
6 where we mentioned that we could think about
7 refinements, where extensions of the analysis had to
8 do with mixing in the core.

9 The core is represented as a series of
10 parallel channels with no mixing, and obviously PWRs
11 have mixing. We assumed that the boron concentration
12 was uniform over the radial direction in the core
13 initially, at least at the core inlet.

14 And of course, there may be radial or
15 azimuthal non-uniformities because we're only talking
16 about one loop being impacted and therefore the slug
17 is coming in from one side.

18 And we noted at that time that we had not
19 turned on the pump in our calculations, that these
20 were natural circulations. So that was where we had
21 gotten to last time, and the material that I spoke
22 about last time is included in the hand-out that you
23 have today.

24 So, if you think of something that, "Gee,
25 Diamond said that last time," it's in that hand-out

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and you can check on that. And that also has my
2 slides, which discuss the methodology that we use, and
3 the reactor model.

4 And I'm not going to repeat that
5 information I'm going to get right to the results.

6 MR. SCOTT: It's in the second hand-out?
7 You have two --

8 MR. DIAMOND: One is dated June 26, and one
9 is dated today, it's called Part Two.

10 CHAIRMAN WALLIS: Part Two has no date on
11 it.

12 MR. DIAMOND: September 9 is the date on
13 it.

14 CHAIRMAN WALLIS: What's Part Three going
15 to show us?

16 MR. DIAMOND: All right. So the
17 calculations that we're going to talk about today, the
18 first calculation is the start of the single pump with
19 the dilution as explained by Marino just a little bit
20 earlier.

21 And what that is going to show is a very
22 fast reactivity insertion relative to natural
23 circulation. And then the two natural circulation
24 cases that I'm going to show, those don't show as a
25 slower insertion, but it's a larger reactivity

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 insertion relative to the previous case that I
2 explained.

3 And that's because in this case the boron
4 concentration goes all the way down to about zero ppm;
5 in the previous case we only went down to about 250
6 ppm.

7 CHAIRMAN WALLIS: So your conclusions have
8 changed since the last meeting we had? The last
9 meeting seemed to be reassuring, but not much energy
10 was deposited in the fuel.

11 MR. DIAMOND: That's correct.

12 CHAIRMAN WALLIS: Since then, after some
13 prodding, it says, "Well, what we've done after the
14 ACR Subcommittee meeting." He must have redid his
15 calculations or looked at some more limiting cases and
16 then you analyzed them, and now the story is all
17 different from what it was.

18 MR. DIAMOND: The story really isn't very
19 different.

20 CHAIRMAN WALLIS: It's not --

21 MR. DiMARZO: Let me -- It was not that we
22 only did the calculations with the conditions more
23 severe. So it's a conclusion where I did more severe
24 cases. At that point we did connect.

25 MR. DIAMOND: But we had discussed these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cases last time, and I think that everything that we
2 said last time was just confirmed by these
3 calculations.

4 So I don't think that our conclusions have
5 changed, but I think we have more information now to
6 base those conclusions on. So first I will show the
7 results from the natural circulation curves.

8 These are the curves that Marino just
9 showed. I want to point out that the time, our time
10 starts at 100 seconds. This is actually after hours
11 into the small break LOCA for the purpose of the
12 calculations that I'm about to show you today.

13 The boron dilution starts at 100 seconds,
14 and as you see, Curve A takes about 75 seconds, Curve
15 B about 50 seconds, to go from 2500 down to about zero
16 ppm.

17 DR. KRESS: Do these calculations prove
18 your build-up of xenon in the core?

19 MR. DIAMOND: You mean prior to the --

20 DR. KRESS: Prior to the injection.

21 MR. DIAMOND: No, they do not.

22 DR. KRESS: So that's a conservative.

23 MR. DIAMOND: Yes. It would --

24 CHAIRMAN WALLIS: How much is that xenon
25 worth in terms of reactivity?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. KRESS: He said it was hours, that's
2 quite a bit.

3 MR. DIAMOND: Yes, there is a lot of xenon
4 that does build up, and that tends to poison the core
5 more.

6 CHAIRMAN WALLIS: That's been ignored here?

7 MR. DIAMOND: Yes. Well, this is based on
8 just having the equilibrium xenon remain as constant.

9 CHAIRMAN WALLIS: But that's not realistic,
10 is it?

11 MR. DIAMOND: Yes, there is build-up of
12 xenon, which tends to reduce the reactivity in the
13 core. That's true.

14 CHAIRMAN WALLIS: Well, would it make any
15 difference to your conclusion?

16 MR. DIAMOND: No, I don't think it would,
17 and I think that what's important here is that, not
18 only do you have the build-up of xenon, but you also
19 have the insertion of all of the control rods in the
20 core.

21 So you have many, many dollars of negative
22 reactivity at the core.

23 CHAIRMAN WALLIS: The surprising thing is
24 you need the boron. In other words, the control rods
25 alone won't do it in the start-up cycle.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DIAMOND: You mean to shut down?

2 CHAIRMAN WALLIS: Yes.

3 MR. DIAMOND: But you do have the boron. I
4 mean, the HPI has been on. You've got 2500 ppm of
5 boron in the core.

6 CHAIRMAN WALLIS: We're really worried
7 about boron dilution, and designs of the control rods
8 alone shutting down.

9 MR. DIAMOND: Yes, but --

10 DR. KRESS: That point was made in the
11 report originally, when you made the cycle, and even
12 with this dilution coming in, you're still checking.

13 CHAIRMAN WALLIS: And it's a longer period
14 for the Westinghouse reactors.

15 MR. DIAMOND: Yes. Right, sure, in an
16 endless cycle you don't have boron in there, so it's
17 -- Yes, so the first curve I wanted to show was power
18 versus time, and it happens to be for the Curve A --
19 I'm sorry, this is actually a Curve B scenario.

20 One that takes place in about 50 seconds,
21 where dilution takes place in about 50 seconds. I just
22 wanted to first point out that --

23 DR. KRESS: It's mislabeled there?

24 MR. DIAMOND: I'm sorry? It's mislabeled?
25 Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: It should be B?

2 MR. DIAMOND: It should be B. That's the
3 faster line. You're starting out here from about 10^{-6}
4 percent power, and quite a bit shut down. This
5 accident has been going on for a long time, and the
6 reactor is shut down.

7 Btu then, because of the boron dilution,
8 it comes all the way up quite a few orders of
9 magnitude to above 100 percent of rate of power. And
10 I'll show the --

11 CHAIRMAN WALLIS: Next curve shows six
12 times rate of power?

13 MR. DIAMOND: Yes.

14 CHAIRMAN WALLIS: Sounds like a dramatic
15 event.

16 MR. DIAMOND: This shows the result on a
17 linear scale for both Curve A and Curve B. And the
18 only difference really, or the most significant
19 difference that I see, is the fact that the Curve B
20 occurs faster.

21 That's the one that's at a somewhat faster
22 rate than Curve A. But essentially what you see is
23 that, with the exception of a number of spikes above
24 100 percent, the power is going up and down in the
25 range between zero and 100 percent, until such time as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the boron slug has moved out of the core, and the core
2 has shut down again.

3 CHAIRMAN WALLIS: Now the implication --
4 Sorry.

5 DR. KRESS: Excuse me. What causes the
6 spikes?

7 MR. DIAMOND: Well, the spikes -- I'll show
8 you what causes the spikes. The spikes are caused by
9 the interaction of all the different reactivity
10 effects.

11 DR. KRESS: But those are feedback spikes.

12 MR. DIAMOND: Yes, exactly. This is the
13 same plot, only the time-scale is reduced so that it's
14 spread out and you can see the shape of these spikes.
15 And as I say, some of them are quite sharp and the
16 others are really not too sharp, on the order of
17 seconds.

18 I should say the width of them is --

19 CHAIRMAN WALLIS: The marks are at A and B,
20 and the sort of idea was that the conditions would be
21 somewhere in between the two, or are these two extreme
22 cases, or?

23 MR. DiMARZO: A is extreme. B is
24 outlandish. In other words B is something I can
25 imagine doing.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: Yes, but then with all
2 these --

3 MR. DiMARZO: B is a figment of my
4 imagination.

5 CHAIRMAN WALLIS: But with all these
6 oscillations and large power bursts and -- I just
7 wonder if someone else couldn't dream up a Curve C,
8 which was no more outlandish than yours, which gave
9 more dramatic power bursts.

10 MR. DIAMOND: Well, the pump on will look
11 a little different.

12 CHAIRMAN WALLIS: Yes.

13 MR. DIAMOND: But the point is that from
14 the neutronic response, there's not much of a
15 difference between Curve A and Curve B.

16 CHAIRMAN WALLIS: Just one's larger than
17 the other.

18 MR. DIAMOND: Right.

19 CHAIRMAN WALLIS: The peak is different.

20 MR. DIAMOND: From the point of view of
21 developing those two curves, the thinking was quite
22 different, but the results are very similar. Now in
23 order to explain these results, you do have to look at
24 the component reactivities.

25 And this shows the boron reactivity and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the total reactivity. The boron reactivity -- again,
2 we're starting from 100 seconds -- it goes up to about
3 ten dollar addition.

4 So it is certainly a significant amount of
5 reactivity that's being added. Just like in a boiling
6 water reactor, when you go from full power, and we
7 have 40 percent void fraction to low power, zero
8 percent void fraction, there's a large reactivity
9 display.

10 All right. I'll probably shouldn't have
11 said. It will confuse the issue. But the thing is that
12 the total reactivity, the thing that is driving the
13 global power during this event is very small.

14 It just goes above a dollar over here, and
15 then it oscillates quite a bit. And it's causing all
16 of those power spikes that we saw initially. And of
17 course, the reason that the total is low, and the
18 reason that it is erratic, is because of the fuel
19 temperature, and especially the moderator feedback.

20 CHAIRMAN WALLIS: Does the void fraction
21 make any difference? Are you making voids in this?

22 MR. DIAMOND: Yes. And that's exactly why
23 you get these spikes here. This is due to the creation
24 and collapse of voids throughout the core.

25 CHAIRMAN WALLIS: So it shuts itself down?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DIAMOND: That's correct.

2 CHAIRMAN WALLIS: That goes then to the
3 other interpretation which I think is incorrect, which
4 would be that since a tiny bit of reactivity gives you
5 these spikes, if you are certain about this reactivity
6 you can get much bigger spikes.

7 But the reason -- the knowledgeable way to
8 reason is if we did get more reactivity, it would shut
9 itself down in voids, isn't it?

10 MR. DIAMOND: Yes. You've hit upon a very
11 important point here, and that is that the inherent
12 characteristic of these water reactors, low enriched
13 water reactors, is that they have a large fuel
14 temperature and moderator temperature feedback.

15 Now --

16 CHAIRMAN WALLIS: And voids, the voids are
17 not there.

18 MR. DIAMOND: Yes, and when I say moderator
19 feedback --

20 CHAIRMAN WALLIS: Oh, voids are in there?

21 MR. DIAMOND: Yes. I mean, posted density
22 and temperature effect. So it's the competition
23 between the feedback and the boron which causes the
24 power to spike like that.

25 And if we then look, we focus in on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fuel rod, and we look at the pellet-average fuel
2 enthalpy throughout the reactor as a function of time.
3 And we look at the place in the reactor where that
4 fuel enthalpy is at its peak, then we get this curve
5 here.

6 And again, there's not too much of a
7 difference between Case A and Case B. There's an
8 initial rise -- this initial rise caused by that
9 initial power spike. And a little plateau here, and
10 then eventually a value which is the peak value.

11 And a bunch of oscillations as you get
12 peak transfer.

13 CHAIRMAN WALLIS: This is different from
14 the 37 or whatever it was we had last time.

15 MR. DIAMOND: Actually, it's similar. And
16 let me take the same curve and let's zoom in on it and
17 look at the first 20 second period, from 120 to 140
18 seconds.

19 So this is the exact same curves, the same
20 quantity that I just showed. It's the peak pellet-
21 average fuel enthalpy. And if we look -- Well, let's
22 look at this one first, Curve B.

23 The initial enthalpy rise is only about 15
24 calories per gram. And then the enthalpy rise is much
25 slower, and maybe there's a total of -- when you reach

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this plateau, maybe it's 25, 30 calories per gram.

2 The point is that if you're worried about
3 rapid energy deposition, you're really worried about
4 this region here. And that enthalpy rise is really not
5 significant.

6 Now, what happens eventually is that you
7 get up to about 100 calories per gram. That's the
8 maximum enthalpy rise. But even at that level, even if
9 it occurred rapidly -- Well, at that level, you
10 wouldn't be worried about fuel grams as yet.

11 But anyway, the point is that this is
12 occurring only after a very long period of time. This
13 is at 132 seconds. So I think what's most significant
14 is this initial increase, which isn't much different
15 than what I described using the original core and
16 dilution curves that we had for the last meeting.

17 Now, and I'll show the difference in the
18 pump-start case in a minute, but I also wanted to show
19 void fraction, because --

20 CHAIRMAN WALLIS: Well, I think for the
21 record I'd like to report that our member Victor
22 Ransom has joined us.

23 DR. RANSOM: Sorry for being late.

24 CHAIRMAN WALLIS: Excuse me.

25 MR. SCOTT: Let me say something. If the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 100 calories per gram, because that takes several
2 seconds to get there, would not be the same as these
3 reactivity transients that go to 100.

4 MR. DIAMOND: That's correct.

5 MR. SCOTT: And take 20, 30 milliseconds.
6 So we might not get the damage, even in high burn-up
7 fuel.

8 MR. DIAMOND: Well, the point is the damage
9 at that point might be acceptable, kind of, fuel
10 damage, and not damage that would be associated with
11 fuel fragmentation or dispersal.

12 This is a curve of the maximum void
13 fraction, looking at the void fraction at all of the
14 positions within the core at which the calculation was
15 carried out, with RELAP, I should add.

16 And of course this is the locus of many
17 individual positions that have high void fraction, and
18 one such position here at the bottom of the core, at
19 a particular thermal hydraulic channel is shown here,
20 in order to show that the void fraction at any given
21 location doesn't stay up at 80 percent.

22 It's really growing and collapsing
23 sporadically. So you have this chugging situation, so
24 to speak.

25 CHAIRMAN WALLIS: Whereabouts in that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 picture is the maximum fuel pellet enthalpy? This is
2 Curve A?

3 MR. DIAMOND: Yes, this is Curve A, which
4 was later than 132.

5 CHAIRMAN WALLIS: Oh, it's about 145 or
6 something?

7 MR. DIAMOND: Okay, so I guess that was at
8 this point here.

9 CHAIRMAN WALLIS: So it's in there.

10 MR. DIAMOND: Yes, and then things kick
11 through.

12 CHAIRMAN WALLIS: So after that, do we care
13 much? What if there's another peak later on?

14 MR. DIAMOND: Well, we don't even care
15 about --

16 CHAIRMAN WALLIS: There's another peak
17 later on it kind of follows that.

18 MR. DIAMOND: We don't even care about
19 this. I mean, don't forget, this core has been boiling
20 for hours. So the fact that you're getting some void
21 fraction here seems to me --

22 CHAIRMAN WALLIS: But DiMarzo actually
23 chilled it with his cold water coming rushing in.

24 MR. DIAMOND: Well, it's true that the
25 water here -- we're at low, much lower pressure and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 temperature when this boiling takes place. The
2 conditions here are supposed to be on the order of six
3 mega-pascals, and about 400 --

4 CHAIRMAN WALLIS: Yes, what I was observing
5 was that these peaks in void fraction, the one around
6 145 and then the rise up to 160, those track pretty
7 well the rapid rise in fuel enthalpy as well.

8 So what's happening is it's heating up,
9 and very rapidly, soon after that it makes voids.

10 MR. DIAMOND: Yes.

11 CHAIRMAN WALLIS: So the voids track the
12 power.

13 MR. DIAMOND: Well, yes, except the thing
14 about voids too is that they transport up the channel
15 as well. So it's complicated by the transport and the
16 generation.

17 CHAIRMAN WALLIS: Yes, but in the initial
18 sudden surge of energy, they aren't cooled much in
19 that period.

20 MR. DIAMOND: No, not in the initial stage.
21 So, my results from these cases are listed here. The
22 first is that it's important to remember that the
23 total reactivity addition is always much less than the
24 driving factor, which is the boron dilution. That's
25 important.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The fuel and moderator reactivity feedback
2 are very important. And the PWR, also in the PWR. The
3 initial increase in the peak fuel enthalpy -- and by
4 "initial increase" I'm talking about in the first
5 second -- is about 15 to 25 calories per gram.

6 From the point of view of fuel damage is
7 not inconsequential. The peak fuel enthalpy during the
8 entire transient is in the range of 90 to 100 calories
9 per gram.

10 And again, though, that peak fuel enthalpy
11 occurs slowly and therefore we're not talking about
12 catastrophic fuel damage here. The void fraction is
13 high enough to expect DNB.

14 But if so, it would not be different than
15 during the earlier portion.

16 CHAIRMAN WALLIS: Wouldn't that change the
17 peak fuel enthalpy, the DNB?

18 MR. DIAMOND: Yes. You mean because of the
19 heat transfer? Yes, one feeds back on the other. But
20 that's taken into account in --

21 CHAIRMAN WALLIS: In RELAP?

22 MR. DIAMOND: In the guidelines, yes.

23 CHAIRMAN WALLIS: So does the code predict
24 DNB?

25 MR. DIAMOND: The code will predict what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 heat transfer pictured, yes.

2 CHAIRMAN WALLIS: Does it predict DNB for
3 this case?

4 MR. DIAMOND: Oh, does it predict it for
5 this case? Well, then you have to monitor the DNB
6 ratio, and we did not monitor that.

7 CHAIRMAN WALLIS: So you say high enough to
8 expect, and a curious person would ask, "Well, did you
9 get it?"

10 MR. DIAMOND: Yes. Okay.

11 CHAIRMAN WALLIS: You're tantalizing us,
12 because we don't know whether you got it or not.

13 MR. DIAMOND: Yes, and I'm sorry, but I
14 don't have that.

15 CHAIRMAN WALLIS: Maybe by later in the
16 week you can tell us.

17 DR. FORD: Could I ask a question?

18 MR. DIAMOND: Certainly.

19 DR. FORD: You essentially come out with a
20 correlation between the measured peak fuel enthalpy
21 and the calculated rate of boron loss during the
22 transient. Is that correct?

23 The rate of boron loss from the University
24 of Maryland calculations are not calibrated into the
25 data. Is that correct? So are we intentionally in a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 situation where we're just scaring ourselves, because
2 we don't have a calibrated rate of boron loss that's
3 calculated -- calibrated.

4 MR. DIAMOND: Yes, that's correct. That's
5 correct and that's why it seems like we keep going to
6 more and more extreme cases, and, to wit, I'm going to
7 show you the next extreme case, which has the pump
8 coming out.

9 DR. FORD: I'm sorry to jump ahead of you.
10 You're right, so as far as the rate of boron loss the
11 high fuel enthalpy.

12 MR. DIAMOND: Yes.

13 DR. FORD: So does that not tell us
14 communally that the big urgency to calibrate are
15 verified by thermal hydraulic calculations.

16 MR. DIAMOND: Unless you're satisfied by
17 all the circumstantial evidence which keeps showing
18 that you have to keep pushing your assumptions to more
19 and more conservative values to get to that point
20 where you're rate of dilution is high enough.

21 I mean, my personal opinion is that we
22 keep pushing. The licensee said one thing, and we
23 pushed way beyond that and we're still having trouble
24 getting to a severe accident.

25 And in the next case we'll get closer, but

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 at the cost of going to lower and lower probability.

2 DR. FORD: But you go to higher and higher
3 burn-up fuels? Doesn't the urgency become that much
4 greater?

5 MR. DIAMOND: Well, when we look at this,
6 or at least when I look at this, I'm looking at it in
7 terms of what we'd expect those limits to be for high
8 burn-up fuel.

9 CHAIRMAN WALLIS: Well, I think when we
10 looked at actual data for high burn-up fuel, there's
11 very little of it. And it was not that conclusive that
12 you could draw a line and say above 100 K, because you
13 weren't always.

14 MR. DIAMOND: Right.

15 CHAIRMAN WALLIS: And so there's some
16 uncertainty there. What you seem to be saying is that
17 you cannot rule out the kind of energy deposition
18 which could give you a column with high burn-up fuel.

19 MR. DIAMOND: No, no. I don't seem to be
20 saying that, I am saying that.

21 CHAIRMAN WALLIS: You are, you have said
22 that.

23 MR. DIAMOND: Or no, I will say that in the
24 next two minutes when I show the pump start case.

25 CHAIRMAN WALLIS: You are about to say it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Isn't that true here too? Isn't 100 calories per gram,
2 is not -- doesn't rule out damage to high burn-up
3 fuel, does it?

4 MR. DIAMOND: No. At this rate of addition,
5 I think not, no. I don't think that --

6 CHAIRMAN WALLIS: Are there some criteria
7 which say rate of addition and tell the deposition
8 under the LOCAs of acceptable conditions or something?

9 MR. DIAMOND: In my mind, there is.

10 CHAIRMAN WALLIS: Your mind?

11 MR. DIAMOND: Yes. I would defer to fuel
12 behavior experts, but this type of energy deposition
13 is of concern when there's no opportunity for the CLAD
14 to come to equilibrium with the pellet.

15 It's a sudden jolt to the CLAD. And in
16 this case it's not a sudden jolt, it's happening over
17 90 seconds, and therefore -- However, the definitive
18 answer to that ought to come from the fuel behavior
19 person.

20 MR. SCOTT: But David, I think when you
21 enter the next set too, but go back to this one. You
22 have channels that have high burn-up fuel, and
23 channels that have medium burn-up fuel.

24 And are not these high 90 calories per
25 gram one of the low burn-up fuel?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DIAMOND: Yes. No. Yes, this is for the
2 low burn-up fuel, right. That happens to be -- the
3 particular design that we're looking at, the B&W, they
4 had put their control rods in the higher burn-up fuel,
5 and therefore, since as I say, all the control rods
6 are inserted in this particular case, the high burn-up
7 assemblies don't have the high power because that's
8 where the control rods are.

9 And the low burn-up assemblies are the
10 ones that are getting all the high fuel energy
11 deposition and high void fractions, etcetera. Okay. So
12 now let's take a look at the pump restart case.

13 Again, this is the curve that Marino
14 showed earlier. And I've just plotted it here against
15 the case from last time. And you can see that the --
16 And again, we're starting at 100 seconds.

17 The boron event is over on the order of 20
18 seconds.

19 CHAIRMAN WALLIS: What's this 25 percent
20 figure?

21 MR. DIAMOND: That is the pump rate based
22 on the analysis that Marino did. Where he non-
23 conservatively assumed that there was a ramp-up of the
24 pump rate, so that we were looking at a fractional
25 pump rate, rather than complete insertion.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I'm sorry, complete, 100 percent flow.

2 MR. DiMARZO: Yes. The reason why I put it
3 much higher. It's much worse.

4 CHAIRMAN WALLIS: It's worse? So why did
5 you choose the 25 percent, it seems somewhat
6 arbitrary.

7 MR. DiMARZO: I just picked a case which
8 seemed to perform better with the insertion. So I said
9 this percent has nothing wrong. So it was by all means
10 a non-conservative estimate. And when Igor comes to me
11 and says we are really in trouble there, we could push
12 it worse, but the answer wouldn't change.

13 We would still have --

14 CHAIRMAN WALLIS: See, that's what I found
15 real trouble with. Because your A and B curves, these
16 are outlandish, extreme cases. Now when you're looking
17 at the bump pump, you say, "Well, I will not look at
18 the extreme case. I'll look at a 25 percent," when it
19 could be 100.

20 So you're telling a somewhat different
21 story. That's going to -- Someone's got a cost to
22 whoever's evaluating.

23 MR. DiMARZO: Yes, but there are two
24 stories. One story is natural circulation. We want to
25 tell you that no matter what you do with natural

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 circulation we have no problem.

2 So we went and forced the RCP on in order
3 to make that case. On the pump, as soon as we start
4 with something close to the --

5 CHAIRMAN WALLIS: You run into real
6 trouble.

7 MR. DiMARZO: Immediately we are in
8 trouble.

9 CHAIRMAN WALLIS: So you burn up the pump.

10 MR. DiMARZO: So there is no point in going
11 into extreme.

12 CHAIRMAN WALLIS: I see.

13 MR. DiMARZO: We are only throwing our
14 hands up in the air like this.

15 CHAIRMAN WALLIS: So that needs to get
16 across to the audience.

17 DR. KRESS: What is 25 percent, like one
18 pump starting?

19 MR. DiMARZO: No, no, it's a quarter of
20 one.

21 MR. SCOTT: Remember, the pump is off, and
22 it has to start. Well, we've only got, like, 20
23 seconds? It can't possibly get up to very high speed
24 in 20 seconds.

25 MR. DiMARZO: We don't look towards that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 kind of a range, but the program is the fluid isn't
2 going to pump.

3 CHAIRMAN WALLIS: But you don't know how
4 fast it starts? Why don't you put in what it really
5 does?

6 MR. DiMARZO: I don't know what the fluid
7 does. You know, you have fluid in the whole room. The
8 pump will go up to speed in 20 seconds. That doesn't
9 say that the fluid --

10 CHAIRMAN WALLIS: I would think the fluid
11 was pumped pretty quickly. Oh you mean a momentum
12 equation has to be used? We found a case, Dana, where
13 the momentum equation matters? When you bump the pump,
14 how rapidly you speed up the fluid.

15 DR. POWERS: Understand, I come from being
16 trained by Ivan Patton. There was the Big Bang, and
17 everything else was the momentum equation.

18 MR. DIAMOND: All right, well this shows
19 the resulting power on a logarithmic scale, similar to
20 the results that I showed earlier. Except that now
21 everything's happening in about 20 seconds.

22 And this is the boron dilution curve that
23 I just showed, and this is the power which comes up
24 to, well, quite a bit higher than 100 percent power,
25 but duration is much shorter.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: It looks like something
2 over -- It looks like 2000 percent or something.

3 MR. DIAMOND: Well, we'll take a look.

4 CHAIRMAN WALLIS: You're going to show us.

5 MR. DIAMOND: Well, actually, this doesn't
6 go all the way to the --

7 CHAIRMAN WALLIS: What is it?

8 MR. DIAMOND: I'm not sure, maybe you're
9 right. It could -- maybe it is 2000. The thing is, I
10 never look at these, because I don't find them to be
11 interesting.

12 What's really important is the integral,
13 the energy that --

14 CHAIRMAN WALLIS: But it's still dramatic,
15 and someone, a member of the public who wanted to make
16 a point could say, "Look, it's 20 times."

17 MR. DIAMOND: Yes, right, so, okay, you're
18 right, this keeps going up here. But I wanted to show
19 -- zoom in and show you what the oscillations look
20 like.

21 And here there's only a few oscillations
22 because this is the boron dilution and you're already
23 coming back up to high boron concentration. As the
24 slug exits through the core.

25 CHAIRMAN WALLIS: So you're at 100 percent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 power or over?

2 MR. DIAMOND: Yes.

3 CHAIRMAN WALLIS: So quite a few seconds.

4 MR. DIAMOND: That's right. In this case,
5 remember before I pointed out that you were really --
6 most of the time you were between zero and 100 percent
7 power, with a couple of occasional spikes.

8 But here, the significant energy being
9 deposited, it's above 100 percent nominal. So we do
10 have a different situation with the pump start. And if
11 we look at again the local pellet average enthalpy,
12 the general behavior is similar.

13 That is, we have an initial jump and then
14 it continues to rise, plateau-ing at several -- well,
15 not even a plateau at several points.

16 DR. KRESS: That's still cooling off a
17 little bit, by the fluid? It's not much cooling.
18 Because that's almost the strength --

19 MR. DIAMOND: That's right. It's partially
20 -- The cooling of the fuel is one effect. The
21 different power spikes is another effect. Don't forget
22 now that I'm showing something that is the
23 conglomerate.

24 So you have spatially dependent behavior.
25 I'm showing the peak value.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. POWERS: Can you give us some idea of
2 where this is happening?

3 MR. DIAMOND: Yes, this is happening in the
4 bottom of the core, because it's the bottom of the
5 core that sees that slug first. It's the bottom of the
6 core that's responsible for that initial power spike.

7 And it's happening in the low burn-up
8 fuel. Because as I explained it's the low burn-up fuel
9 -- I'll show this in a little bit. It's the low burn-
10 up fuel that does not have a control rod in it.

11 CHAIRMAN WALLIS: And you chose not to run
12 the pump at 100 percent or anything like -- Did you
13 have runs for other assumptions, like 100 percent
14 pump?

15 MR. DIAMOND: This is difficult enough as
16 it is. You start to get into conditions like that,
17 you're really pushing all of the models and the code.

18 CHAIRMAN WALLIS: So you have difficulty
19 predicting.

20 MR. DIAMOND: Yes. Well, after a certain
21 point. I mean, we were able to do this calculation,
22 but each time you do a calculation like this you
23 realize that you're starting to get into regions which
24 the codes were not designed to account for.

25 CHAIRMAN WALLIS: Which means there's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 uncertainty in the numbers, if they are much bigger or
2 smaller.

3 DR. POWERS: You would have --

4 MR. DIAMOND: There is uncertainty.

5 DR. POWERS: Do you have a way of getting
6 through that says we have a code that allows us to
7 read these things, we can. This calculation, although
8 somewhat in the other calculations, routinely you
9 would need a code that has these capabilities?

10 MR. DIAMOND: No, I don't have that written
11 up anywhere.

12 DR. POWERS: Surely you could use it.

13 MR. DIAMOND: Yes, well there are all sorts
14 of things -- Well, I mean, for example, here you get
15 the centerline melting. The consistency laws in
16 relation in RELAP could be such that it would get up
17 to the melting point and continue to be able to
18 calculate in an orderly fashion rather than getting
19 some block.

20 That's one example.

21 DR. POWERS: You don't calculate centerline
22 vapor pressures?

23 MR. DIAMOND: No. But I'll show you when we
24 do get up to centerline melting, and that's already
25 pushing --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. POWERS: You show centerline
2 temperatures at 3000 degrees Centigrade, and if you
3 include vapor pressure at different points, it's --

4 MR. DIAMOND: Right. Okay, I'm just taking
5 the same fuel enthalpy curve, and again blowing up the
6 time scale, so that we're only looking at four seconds
7 here.

8 And the point is that I wanted to first
9 show this initial rise here is now on the order of 30
10 calories per gram and fractions of a second. If we're
11 looking at maybe one second, then we're talking about
12 maybe 60 calories per gram increase.

13 So now we're starting to talk about
14 getting a considerable amount of energy deposition, in
15 a small amount of time. Forgetting about the fact that
16 this is going up to very high fuel enthalpies, which
17 are not going to lead to minor fuel damage, but may
18 lead to major fuel damage.

19 So that's the blow-up here. And this
20 eventual fuel enthalpy was about 180 calories per
21 gram. If instead of looking at the pellet-average
22 enthalpy, we focus on the fuel centerline.

23 And instead of talking about enthalpy it's
24 more convenient to talk about fuel temperature. So
25 this shows the same shaped curve as for the pellet-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 average enthalpy, but now we're talking about the fuel
2 centerline.

3 DR. POWERS: What's the burn-up on this?

4 MR. DIAMOND: It's very low. It's --

5 DR. POWERS: Very low as in 4 gigawatt
6 gauged --

7 MR. DIAMOND: No. As in less than that.
8 Yes. Essentially zero.

9 DR. POWERS: So essentially, it actually
10 occurs more, given that greater number.

11 MR. DIAMOND: Oh, okay.

12 DR. POWERS: I mean, you're just basically
13 I think it was --

14 CHAIRMAN WALLIS: But there may be some
15 other fuel which is only up to 2000 which has a higher
16 burn-up.

17 MR. DIAMOND: Yes.

18 CHAIRMAN WALLIS: Which is a whole lot of
19 different --

20 MR. DIAMOND: That's right. Don't forget,
21 I said that the only reason that the highest, most of
22 your conditions are occurring in low burn-up rather
23 than in high burn-up fuel is that in the BNW fuel-
24 management scheme, the control rods are in the high
25 burn-up assemblies.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now if we were looking at a different
2 fuel-management scheme, then, where they placed the
3 high burn-up fuel assembly next to a low burn-up fuel
4 assembly, and one was being driven by the other, then
5 this could take place in a high burn-up fuel assembly.

6 But the conclusions that we want to reach
7 are independent of burn-up. Okay, so this shows the
8 peak fuel centerline temperature. That is, the peak
9 throughout the core. And it occurs at about 113
10 seconds.

11 And if we just focus on 113 seconds and
12 look at the centerline temperature throughout the
13 core. This is -- as a function of axial position, this
14 shows you a couple of things.

15 One, it shows you how things are happening
16 at the bottom of the core. This is the bottom of the
17 core, this is the top of the core.

18 CHAIRMAN WALLIS: Tell me about the nodes,
19 your calculation on nodes there.

20 MR. DIAMOND: These, yes, these different
21 curves represent different fuel assemblies.

22 CHAIRMAN WALLIS: But these are combined --
23 the nodes, the discretization is your numerical
24 method?

25 MR. DIAMOND: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: So we have very steep
2 ramp on the left. And we wouldn't really know what the
3 clusters would do if you had to find the nodes right
4 at the left. You might have a different maximum is
5 what I'm saying.

6 MR. DIAMOND: Yes.

7 CHAIRMAN WALLIS: If you had primary nodes.

8 MR. DIAMOND: Right. And now, if we just
9 look, though, at this second node here, and we look at
10 all these points and how they're distributed through
11 the radial section of the core.

12 This is a 1a portion of the core. By the
13 way, I apologize, this was supposed to be in living
14 color. And due to technological difficulties --

15 CHAIRMAN WALLIS: Well, lots of these are
16 pretty darn high.

17 DR. POWERS: I'm much more concerned --

18 MR. DIAMOND: Okay. Well, so we can look.
19 Now this is the center of the core. This is the
20 periphery out here. And here's where you can see the
21 -- let's see, these are channels.

22 Okay, these are low burn-up assemblies
23 along this diagonal. Don't forget now, every other
24 assembly has a control rod. So there's a control rod
25 here, there's one here, one here, one here, one here,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 here, here, here, surrounding the --

2 DR. POWERS: Well, we're more concerned
3 about the higher burn-up fuel than I am the pressure
4 --

5 MR. DIAMOND: Yes, and I'm glad you noted
6 that, because here I am talking about the low burn-up
7 assemblies are experiencing the higher centerline
8 temperatures. In reality, this is not much different.

9 And this is a high burn-up.

10 DR. POWERS: So where are you getting 100
11 --

12 MR. DIAMOND: Yes. Right. So, I don't know
13 where you want to draw the line in terms of
14 acceptance, but as an exercise I drew that line at
15 3000 Kelvin.

16 And I said, okay, that's unacceptable fuel
17 damage above that. And what it represents in this case
18 is 20 percent of the fuel assemblies. In other words,
19 20 percent of the fuel assemblies would reach 3000
20 Kelvin.

21 CHAIRMAN WALLIS: And this is only for a 25
22 percent pump.

23 MR. DIAMOND: Yes.

24 DR. POWERS: So there's no burn-up --

25 CHAIRMAN WALLIS: That's why it would be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 helpful if you made a few other assumptions, like 50
2 percent pump, or something different just as a
3 comparison. Because this -- It just seems it's sort of
4 an arbitrary number.

5 DR. POWERS: Why are you looking at the
6 pump bump at all. I think they already know that the
7 pump bump is --

8 CHAIRMAN WALLIS: Okay, so you're going to
9 say --

10 DR. POWERS: Well, this is true. The thing
11 is you can put all the rules you want to on bump pump.
12 There's going to be an unbelievable driving force on
13 that pump.

14 DR. KRESS: All we've got is procedures
15 that say don't bump the pump. That bothers me.

16 DR. RANSOM: Well, it's no worse than
17 saying shut off the HPI and that will open. You can do
18 that. You get in trouble like Three Mile Island. The
19 other thing.

20 I'm sorry I missed the earlier part of
21 this presentation, but I have trouble with the
22 boundary conditions that are used in this analysis,
23 and also the one that DiMarzo was using in his mixing
24 analysis.

25 Because they leave off the vent valves.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now, unless you do a nanometric calculation that
2 includes the differential pressures that occur across
3 that, you're consistently going to get flow to those
4 vent valves, which dilute any incoming deborated
5 water.

6 And in that sense, the Framatome
7 calculation is a much more sensible calculation than
8 what is being done here. In fact, I don't understand
9 why -- This is a great calculation from the neutronics
10 point of view, and the input thermal hydraulics, but
11 you left out the downcomer, and the vent valve.

12 Which would have been a simple addition to
13 this calculation. Without that it's --

14 MR. DiMARZO: My case there is no mixing in
15 the vessel. I take no credit for mixing in the vessel.

16 DR. RANSOM: Right.

17 MR. DiMARZO: It's what we concluded in
18 natural circulation is that no matter what we did --

19 DR. RANSOM: Well, are you just looking for
20 the worst situation to see if it works out?

21 MR. DiMARZO: There is no way -- it still
22 is good. It still is very good. It still is
23 acceptable. The worst possible thing you can think of
24 with all the situations, it works out.

25 DR. RANSOM: It seems like it's very much

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 away from the best test on the --

2 MR. DiMARZO: Absolutely, but it's
3 acceptable.

4 DR. RANSOM: That's like assuming all the
5 vent valves fail. You know, that they're not going to
6 work.

7 MR. DiMARZO: But the point is in this set
8 of calculations, we took very conservative assumptions
9 on this pump, and we are already in such a situation.
10 We could demote even further, but then we would have
11 to revisit our more conservative assumption on the
12 pump.

13 For example, the pump should go even
14 faster, the slug should be even larger, and --

15 CHAIRMAN WALLIS: That's what I'm not --
16 that puzzles me. See, Vic is saying, "Yes, it could be
17 more realistic about mixing, that's fine, it helps
18 you. But then if you're more realistic about the pump,
19 then make it 50 percent."

20 I'm not sure whether that carries me over
21 the top or not.

22 MR. DiMARZO: But the point is this. In the
23 pump case, even if it's benign, what will become the
24 pump. Obviously, if I came here with the worst
25 possible pump case, right, that I can fit in like I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 did on the natural circulation case.

2 And I tell you that's a problem. The
3 immediate thing that you will say, say yes, but what
4 I mean, if it's a little more realistic, maybe you
5 wouldn't have a problem.

6 CHAIRMAN WALLIS: I guess what we're saying
7 is if you're realistic all the way, with the mixing
8 and your pump and everything --

9 MR. DiMARZO: We still get in trouble.

10 CHAIRMAN WALLIS: You still get in trouble?

11 MR. DiMARZO: Yes.

12 CHAIRMAN WALLIS: I didn't know that.

13 MR. DiMARZO: In this one here, I think we
14 would. We could try. I mean, you know, but then you
15 would come back and say, "Well, then build it less
16 realistically," you see what I'm saying?

17 DR. KRESS: I don't understand the 25
18 percent pump. I mean, either it would pump on or have
19 it pump off.

20 MR. DiMARZO: The pump comes on -- This is
21 a 20 second transient. The pump comes to full speed in
22 20 seconds.

23 DR. KRESS: Yes.

24 MR. DiMARZO: The fluid has to catch up
25 with it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: What is the relaxation
2 time for this loop in terms of --

3 DR. RANSOM: Well, there again I would say
4 you should do a thermal hydraulic calculation and test
5 that model. You should investigate that finding.

6 MR. DiMARZO: That would give you -- But if
7 I come up with 25, it's very low. I should come up
8 with a higher velocity than he had.

9 DR. KRESS: The only thing -- I get what
10 you said, but I mean there would be mixing in the
11 vessel.

12 MR. DIAMOND: Yes.

13 DR. KRESS: Possibly if it was the pump,
14 that might be enough to set it off.

15 MR. DIAMOND: Yes, in other words, instead
16 of coming down to this point here, there was enough
17 mixing so that you only came down to maybe 1000 and
18 turned around and went up.

19 DR. KRESS: That's the non-part you're
20 talking about.

21 MR. DIAMOND: That's right. Yes.

22 MR. DiMARZO: What is the situation here.
23 We only have to say we shall not turn the pump on.

24 DR. KRESS: Which is the right thing to
25 say.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DiMARZO: That's what they say. So our
2 point is to say on the natural circulation, which is
3 the only thing that's on the table, what's the
4 situation?

5 And no matter what we do there, taking all
6 the most negative or conservative, whatever, we are
7 okay. So as long as they don't turn the pump on,
8 they're okay.

9 CHAIRMAN WALLIS: So your model in terms of
10 the array is if they turn the pump on they get core
11 damage.

12 MR. DiMARZO: Or we should do a lot more
13 analysis to test.

14 DR. KRESS: -- have to do a lot more
15 analysis.

16 MR. DiMARZO: But that's not on the table.
17 They took the pump off the table. So it's not in the
18 arena, and why -- you see what I'm trying to say?

19 CHAIRMAN WALLIS: Well, I guess as an
20 observer, in terms of the public interest and safety,
21 I'm not really interested in what's on the table. I'm
22 interested in what's safe.

23 MR. DiMARZO: Right, but if this thing were
24 not safe, to not turn the pump on is the same as they
25 say, "We shall not turn the HPI off."

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now it's a matter of a regulatory point of
2 view to figure out --

3 CHAIRMAN WALLIS: How much confidence you
4 have in the operators following procedures.

5 MR. DiMARZO: Exactly. That's not the
6 thermal hydraulic situation.

7 MR. SCOTT: I'll talk about that after the
8 break.

9 CHAIRMAN WALLIS: You'll talk about that
10 after the break. We're going to have a break soon.

11 DR. RANSOM: Isn't that a problem in every
12 accident scenario?

13 DR. KRESS: Yes, that's not a unique --

14 DR. RANSOM: So I guess I don't see why
15 it's so unique in this case.

16 CHAIRMAN WALLIS: It's not. Anyway, maybe
17 we should --

18 MR. DIAMOND: I can conclude in just two
19 minutes. I just wanted to show one last result from my
20 calculation, which again showed the high void
21 fractions that you could get into during this event.

22 But you see that this event is over --
23 well, in terms of void fractions -- over in ten
24 seconds. I mean, there's only eight seconds here where
25 there's voiding.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And as we said earlier, well, this core
2 has been boiling for hours, so this is not what we're
3 concerned with in this case. So my summary for the
4 results here is as follows.

5 DR. RANSOM: When does boiling begin in the
6 calculations you have made?

7 MR. DIAMOND: When does it begin?

8 DR. RANSOM: Well, you showed void
9 fractions in some of the earlier ones, so obviously in
10 that voids were being produced, I think for some
11 earlier time.

12 MR. DIAMOND: Oh, when I referred to the
13 fact that the core has been boiling for hours, I'm
14 talking about the early phase of the small-break LOCA,
15 in which the reflux condensation takes place.

16 Our calculation starts only after natural
17 circulation has been re-initiated, and so the voiding
18 that I'm talking about is only in that situation.
19 Natural circulation single --

20 DR. RANSOM: Even that is going to drive
21 closer to vent valves and going to dilute the
22 deborated water as it comes into the valve pump. And
23 I don't know myself what the mass of the borated
24 volume of water is relative to the mass of the
25 deborated water.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 But that would be a dilution-type
2 calculation that should be made, and that would be a
3 more realistic boundary condition than the entrance of
4 the core in this type of calculation.

5 MR. DiMARZO: That is correct, the question
6 is in the issue of pump activation, do we want to do
7 that or not? And that is what has to be decided in a
8 different theorem. Because first decision we have to
9 make is are you confident that does not turn on the
10 pump?

11 And if the answer is no, then the next
12 step is exactly what you proposed.

13 DR. RANSOM: I guess my argument would be
14 if you're going to turn on 25 percent of one pump, why
15 not assume they turn them all on. I mean, if you turn
16 one on, it's better them all on.

17 MR. DiMARZO: If you turned them all on it
18 would be much worse.

19 DR. RANSOM: Of course. So what is magical
20 about one -- Why would a person turn one pump on?

21 MR. DiMARZO: Well, the pump -- there's
22 only one pump.

23 DR. RANSOM: I understand that. No, there
24 are four pumps.

25 MR. DiMARZO: Yes, they could bump the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 whole array and it would be much worse. Definitely.
2 But the problem here we have established. We are
3 trying to establish that you should not touch the
4 pump. Period.

5 Now, let me come to regulatory question.
6 If you are not sure, and you make the determination,
7 look in past history and whatnot, we cannot for sure
8 rule the fact out that they've already turned the
9 pump.

10 Then our job is to go do a dilution study
11 on the downcomer, the AVV, everything.

12 DR. KRESS: We've got a real problem.

13 MR. DiMARZO: I mean, we've got to move the
14 whole thing, definitely. Absolutely. The premise here
15 is --

16 DR. KRESS: And more than likely you will
17 have a problem with the fuel lead.

18 MR. DiMARZO: I don't know the answer of
19 what happens, but I've got do a really good analysis.
20 Now, my issue at the beginning as I started I said, in
21 the way this has been framed, which is no pump, I can
22 essentially say that as long as that's a sure
23 statement, there's no pump, and I'm not making any
24 qualifications to that.

25 If you stick to natural circulation, there

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is no way you're going to have a problem.

2 CHAIRMAN WALLIS: All this is for the
3 numbers where the B&W --

4 MR. DiMARZO: Right, but the other one, you
5 have a problem storing the slug in the first place. So
6 if you go natural circulation or even bump pump --

7 CHAIRMAN WALLIS: All these numbers have
8 been worked out for a certain kind of B&W plant.

9 MR. DiMARZO: And we could do that too for
10 them. But the problem is that the --

11 CHAIRMAN WALLIS: Yes, but someone is going
12 to reach the conclusions about what should be done
13 about a Westinghouse plant, from the calculations for
14 a particular BNW plant?

15 MR. DiMARZO: No, the slugs are much, much
16 smaller. I mean, it's again an area where we can
17 embark on, but the scenario's completely different,
18 because the volume in which they can store the slug is
19 very, very small compared to what is here.

20 Here we're dealing with 23 meters cubed
21 potential area of storage, over there it's a 2 meter
22 cube, that's it, it's very -- the loop is sealed, so
23 you cannot use that.

24 You just have little pieces of --

25 CHAIRMAN WALLIS: But they still probably

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 shouldn't bump that pump.

2 MR. DiMARZO: Well, with that kind of
3 volume, now the question is what does it do? That's
4 exactly what we can ask ourselves When you take two
5 liters and you put it in 200 liters and you transfer
6 that into the core, what's going to let -- How are you
7 going to keep it together?

8 That's going to be very complicated to do.
9 I think it's not an analysis. In other words, you can
10 do a rough analysis of that and basically prove that
11 there is no way you can keep this thing together
12 through the downcomer.

13 CHAIRMAN WALLIS: I suggest we let David
14 finish his presentation, then we have a break. And
15 then we'll come back to all these other questions and
16 we have some more presentations by the staff.

17 MR. DIAMOND: I'll just summarize my
18 thoughts on the pump start case. The initial peak fuel
19 enthalpy increase was 30 calories per gram as we
20 talked about on the fraction of a second or 60
21 calories per gram, we're talking about maybe one
22 second.

23 But more important than that is the fact
24 that the maximum pellet average fuel enthalpy got up
25 to 185 calories per gram, up in the range where we saw

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that one would certainly have melting within the fuel,
2 and our calculation where we used 3000 Kelvin as the
3 melting point.

4 CHAIRMAN WALLIS: I think David, when
5 you're presenting to the -- if you're presenting this
6 to the full committee, I think that you ought to put
7 the temperatures in there too. In your slide, you can
8 do that?

9 The significant number of the elements,
10 including perhaps the high --

11 DR. KRESS: I think that one-eighth core
12 case made the core --

13 CHAIRMAN WALLIS: Yes, but it's not in the
14 summary slide. The temperature -- I know there's
15 points to be made. In terms of summarizing things, put
16 it on the slide.

17 MR. DIAMOND: And again, as I said before,
18 the void fraction, we have DNB, but that's not a
19 concern here. It's this one that's a concern.

20 CHAIRMAN WALLIS: Well, it looks as if
21 there isn't really that much cooling of the fuel
22 elements. They get heated up and they cool off later
23 on, but lead up -- the heat input is a much bigger
24 term than heat removal, so DNB doesn't matter that
25 much.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So this is a good time to take a break.
2 Could I have an estimate of how long we're going to be
3 after the break?

4 MR. SCOTT: I have about a half a dozen
5 slides.

6 CHAIRMAN WALLIS: There's probably going to
7 be a lot of questions from us. Yes, okay. So we'll
8 probably be at least another hour after the break.
9 Maybe two.

10 Okay, so we'll take a break for fifteen
11 minutes. Come back here at 3:15.

12 (Whereupon, the foregoing matter went off
13 the record at 3:00 p.m. and went back on the record at
14 3:16 p.m.)

15 MR. DiMARZO: We have the slide. And the
16 first bullet is really all that we are trying to close
17 upon at this point. And what it is is that we are
18 seeing, we have tried to -- Actually, we have not
19 tried.

20 We have calculated the largest possible
21 slug at the fastest possible rate of transfer, and --
22 in the system that you could come up with. That
23 physically could be arranged, and in spite of all
24 this, we did not have any indication of a negative
25 effect that brought concerns.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: So you know that 90
2 calories per gram is not a problem?

3 MR. DiMARZO: That's basically under what
4 Kevin concluded and that's what we are saying.

5 CHAIRMAN WALLIS: Do you have a fuels
6 person who reassures you that that is the case?

7 MR. DiMARZO: Okay, well we can do that.

8 MR. SCOTT: Well, because it's slow.

9 CHAIRMAN WALLIS: Well, how slow does it
10 have to be. I don't know -- I don't know anything
11 about fuel failures.

12 MR. SCOTT: Well, at the June 26 meeting,
13 it was mentioned that it has to be less than 30
14 milliseconds. The power supply transient has to be
15 less than 30 milliseconds at this kind of a 100
16 calorie, 1900 calorie per gram, to cause fuel damage.

17 If it's greater than that, it's probably
18 not going to cause fuel damage. And these calculations
19 -- David has like half a second or a second. I mean,
20 the spike is --

21 MR. DIAMOND: No, we're talking about many
22 seconds to get up to 90 --

23 MR. DiMARZO: Yes, well, we're only talking
24 about 20 seconds. So what we are trying to conclude
25 today, based on what we showed you today, is that in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the case associated with the natural circulation
2 transfer of the slug, we are confident that no matter
3 what we do, we're not going to cause more severe --

4 CHAIRMAN WALLIS: What centerline
5 temperature are we looking at in this case? Which
6 centerline temperature?

7 MR. DIAMOND: Well, assuming that you get
8 up to 100 calories per gram somewhere, so that's half
9 of what we were talking about -- Before, we were at
10 3000 centerline. I'm thinking of the different --

11 CHAIRMAN WALLIS: It starts at some value,
12 so.

13 MR. DIAMOND: Well, it starts very low.

14 CHAIRMAN WALLIS: And then someone has some
15 number that it's okay if you don't go above, say, 2000
16 or something?

17 MR. DiMARZO: He said 3000.

18 MR. DIAMOND: Well, I was using 3000
19 Kelvin.

20 CHAIRMAN WALLIS: Then you said there was
21 a problem with that.

22 MR. DIAMOND: Sorry, what?

23 CHAIRMAN WALLIS: 3000 Kelvin was a
24 problem, or was it borderline, or what?

25 MR. DIAMOND: No, I said I was using that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 as the acceptance level for what the fuel temperature

2 --

3 CHAIRMAN WALLIS: This is some degree?

4 MR. DIAMOND: -- Kelvin is roughly the
5 melting temperature of the fuel.

6 CHAIRMAN WALLIS: Is there some agreed upon
7 acceptance criteria or something?

8 MR. DIAMOND: No. The --

9 DR. POWERS: I think it falls on one of the
10 fuel damage curves.

11 MR. DIAMOND: Yes, the only acceptance
12 criterion that we have now is 280 calories per gram.
13 However, a lot of people feel that we should not have
14 melting anywhere within the fuel pellet, in order to
15 preclude any kind of potentially catastrophic fuel
16 damage.

17 MR. SCOTT: And I think in the standard
18 review plan, there's something called Specified
19 Acceptable Fuel Damage, or SAFD, and one of those is
20 no fuel melting. So that's why you don't operate a 20
21 kilowatt plant.

22 CHAIRMAN WALLIS: So there is a place where
23 it's written down.

24 MR. SCOTT: Yes.

25 CHAIRMAN WALLIS: No fuel melting is the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 criterion? It's not just a lot of people feel that
2 there is some sort of authoritative reference?

3 MR. SCOTT: Yes.

4 DR. KRESS: I notice then this reason why
5 the rate which is --

6 MR. SCOTT: Okay.

7 MR. DIAMOND: Why the rate matters, or why
8 it does not matter?

9 DR. KRESS: It seemed to me like it
10 shouldn't matter. Maybe you'll tell me why it matters.

11 MR. SCOTT: If we're claiming that fuel
12 damage would be something like a crack. If I get sort
13 of a small crack.

14 DR. KRESS: Which would do what, the
15 internal pressure will --

16 MR. SCOTT: The pellet expands. In these
17 high burn-up rods, the pellet and cladding are sort of
18 in contact, and if you have rapid expansion of the
19 pellet because of heat build-up, it can crack the
20 cladding. And the cladding has to have hydrates in it,
21 or oxide layer.

22 DR. KRESS: So it's the rate at which it
23 expands

24 MR. SCOTT: Because there's an additional
25 mechanism besides just frontal expansion. You have the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fission gaps that's in the edge of the pellets.
2 Because of the high power profile, the high burn-up in
3 the edge of the pellet.

4 That gas which is little bubbles, expands
5 because it's at a high temperature, and now provides
6 not just the sort of manic load but actually pushes
7 the pellet pieces against the clad. And that gives you
8 extra --

9 DR. KRESS: If you add the energy of the
10 rate that gas has a place to go, would you say?

11 MR. SCOTT: Yes, this is a theory. And it
12 seems to be borne out by the tests. They do these
13 tests, if they do them fast, less than 20
14 milliseconds, they get cracking in the clad.

15 If they do them slower, they don't. The
16 same energy --

17 DR. KRESS: You say they've got data.

18 MR. SCOTT: Yes. Data shows the difference
19 between --

20 DR. KRESS: I don't care about the
21 mechanism. You've got data, send a sample.

22 MR. SCOTT: We've got data.

23 DR. RANSOM: Where's the data from, CDF?

24 MR. SCOTT: This is the Japanese reactor,
25 nuclear safety research reactor, NSRR. Their pulses

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are five, six, seven milliseconds. The debris reactor
2 plants does nine, twenty, forty milliseconds.

3 CHAIRMAN WALLIS: We had a presentation on
4 this fuel damage types in the core, and someone drew
5 a blue line. Of course, it wasn't very convincing as
6 a boundary.

7 And it was somewhat under 100 calories per
8 gram, I think. It gave me the impression there really
9 wasn't much of an experience base, and that people
10 were thinking and guessing and hoping, rather than
11 being sure that with these numbers you would not get
12 fuel damage.

13 MR. SCOTT: The assumption is that you can
14 make some adjustments to data points that are done
15 under non-typical conditions to sort of the reactor
16 case. If you know how to do that. Then those data
17 points may form a more coherent --

18 CHAIRMAN WALLIS: But this is somewhat iffy
19 business. One should err on the side of being
20 conservative?

21 MR. SCOTT: Well, I think Dr. Diamond got
22 35, 40, 50 calories per gram, which is substantially
23 less than 100.

24 CHAIRMAN WALLIS: That's in the rapid heat
25 pump. In the rapid pump.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SCOTT: I mean, with natural
2 circulation, you're talking about natural circulation
3 --

4 MR. DiMARZO: Remember, the case B in
5 which you got 100? It's the case that we did just to
6 explore some uncharted territory, or practically
7 uncharted. Case A, I think we were on A, let me think.

8 CHAIRMAN WALLIS: So no one -- Does anyone
9 plan to present a curve like what we saw when we got
10 this presentation on fuels where there is some Capri
11 data, and here's some Japanese data, and here's where
12 we are with these reactors, and that's why --

13 MR. SCOTT: October 9, there's a summit
14 meeting.

15 CHAIRMAN WALLIS: That's too late to help
16 us.

17 MR. SCOTT: Well, we have that, we'd like
18 to show it as a Paintbrush slide.

19 CHAIRMAN WALLIS: Yes, that's the one that
20 -- That's right. Could you show us that?

21 MR. SCOTT: You want to see that again?

22 CHAIRMAN WALLIS: At the full committee
23 meeting?

24 MR. SCOTT: What we were trying to do was
25 to put together a full picture for you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: Well I like the
2 Paintbrush slide. It gave me some perspective on the
3 state of knowledge. I like to compare that with what
4 you're telling me with words here. Can we see that? If
5 you want to bring it in, in half an hour?

6 MR. SCOTT: I could go out and get it.

7 CHAIRMAN WALLIS: Or send somebody?

8 DR. POWERS: I think we're going to have a
9 problem because there's a lack of calculations here.
10 What you will see in the Paintbrush slide is that when
11 we look at the fuel that Dave calculated for fresh
12 fuel, then you'll see that that slide says, "Gee, that
13 fresh fuel could tolerate, not 280, but maybe as much
14 as 200 on a good day, maybe as much as 150 calories
15 per gram in that initial pump."

16 You'll see in the Paintbrush slide that
17 Dave went out and he calculated for a high burn-up
18 fuel, that, depending on who you believe, if you
19 believe NRR it's 180 calories per gram, the high burn-
20 up fuel tolerates.

21 If you believe me, then we will say well,
22 maybe 18 is what it will tolerate. But we don't have
23 a calculation for that high burn-up fuel.

24 CHAIRMAN WALLIS: Well I find it easier to
25 believe you because you're some identified. NRR is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 some vast conglomerate. Consensus may not be wisdom.

2 DR. POWERS: Well they may know more about
3 it than I do.

4 CHAIRMAN WALLIS: Well, this is a concern
5 with me, though. Because I hear you say 18 and all
6 that. What should we be concluding about this?

7 DR. POWERS: What you conclude is pretty
8 much what Dave said. Was that for this calculation,
9 and the prescribed fuel-management scheme, that if we
10 went to the bottom, everything's okay.

11 There's another clause that's omitted from
12 this conclusion slide, and that is for the prescribed
13 fuel-management scheme, what happens in this reactor?
14 Okay, and so on.

15 That's the comment that I would make, is
16 that you've left out one of the assumptions, and that
17 in your calculational suite is that you took a
18 prescribed fuel-management scheme.

19 CHAIRMAN WALLIS: But there are all kinds
20 of creative fuel-management schemes which are being
21 worked on.

22 DR. POWERS: No, well, not only that, there
23 are mistakes made in fuel-management schemes.

24 MR. SCOTT: But in general, a high burn-up
25 rod cannot reach the same kind of power --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. POWERS: That's right. And that's why
2 you can't translate what's been done here to the high
3 burn-up rod, because you go nowhere near

4 MR. SCOTT: No, he has high burn-up rods in
5 his model.

6 MR. DIAMOND: Yes, we do have high -- Well,
7 they're not that --

8 DR. POWERS: You've got the high burn-up
9 rods with control rods

10 MR. DIAMOND: Yes, but they still reach
11 high centerline temperatures. Now that is --

12 DR. POWERS: They're talking about the
13 initial pulse.

14 MR. DIAMOND: Those are not high. Okay.

15 DR. POWERS: Okay. And you just don't have
16 anything.

17 MR. DIAMOND: Oh, the initial pulse. Yes.
18 There is a lack of data, yes.

19 DR. POWERS: I mean, the long-term
20 transient. I mean, the slow build-up of power is going
21 to be a quasi-static pressurization of fuel. And that
22 2900 I have every confidence in the world that that
23 fuel rod's going to pop. Okay?

24 What I don't know is the natural
25 circulation calculation. Some of them like to pop at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 1500. But you put 100 atmospheres on those fuel rods,
2 and they'll bust.

3 MR. SCOTT: If the high burn-up fuel is at
4 100 calories per gram --

5 DR. POWERS: It's going to bust.

6 MR. DIAMOND: Yes, okay, but all we have
7 is conventional wisdom. We don't have hard numbers of
8 the fuel damage limit. And when we're talking about
9 numbers like that, of course, I mean the numbers that
10 I'm showing have a plus or minus associated with them
11 as well, so.

12 MR. SCOTT: If I have a pressure inducer in
13 this little test rod that I'm going to put through
14 this transient, for saying these fission-product
15 vapors, are they going to show up on that device?

16 DR. POWERS: At 3000 degrees Centigrade?

17 MR. SCOTT: Or less, maybe, let's go down
18 to --

19 DR. POWERS: 2900 degrees Centigrade? I'll
20 give you 100 degrees. Yes, you're going to be
21 vaporized for a high burn-up rod. For a low burn-up
22 rod --

23 DR. RANSOM: Do they know this or do they
24 assume there won't be any flow axial in the rod. In
25 other words it's just local.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. POWERS: Yes, I mean you've got roughly
2 a mole of cesium in there. Okay?

3 DR. RANSOM: No way for it to escape up the
4 rod to the plenum?

5 DR. POWERS: It goes -- You can pressurize
6 the plenum all you want to, it's three cubic
7 centimeters. Okay?

8 DR. RANSOM: Well, but it's going to have
9 a pretty mitigating effect. This is a mobilizing
10 effect to set down on the rod?

11 DR. POWERS: Yes, I mean the fuel, the
12 bubbles themselves are at astronomically high
13 pressures. Okay? But this quasi-static pressurization
14 occurs when those bubbles release to the gap.

15 There really isn't much of a gap here. And
16 if it's not -- I mean the quasi-static is pressurizing
17 the fuel rod like it was a pressure vessel. Except
18 with high burn-up it's full, okay?

19 Because it has, I mean it's sitting right
20 at the boiling point of 300 degrees Centigrade. I
21 mean, it hasn't gotten any thermal relief whatsoever.
22 And so now you've put a large pressurization, because
23 you've melted and boiling fuel, and the boiling
24 fission part acts like a centerline. It causes static
25 pressurization.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 But I don't know that that's happened here
2 because we don't have -- I mean, you've got fairly
3 slow calculations for the natural circulation phase.
4 And that's why I say you just need to put one more
5 caveat into what you've got here, and that's that
6 you've assumed the fuel-management scheme.

7 DR. RANSOM: Can we carry that a little bit
8 further. What are the consequences of me -- Let's say
9 you damage the rod.

10 DR. POWERS: If you bust it, the big
11 problem is if you dump the fuel. Disperse it out of
12 the rod.

13 DR. RANSOM: And then you've got to clean
14 it all up.

15 DR. POWERS: That's not the problem. If it
16 slumps down, and you put it in there --

17 DR. RANSOM: The entire core, or just a few
18 drops?

19 DR. POWERS: The 20 percent that he was
20 talking about, okay? If I dump 20 percent --

21 MR. DiMARZO: Twenty percent in the pump
22 case?

23 DR. POWERS: In the pump case, but I if I
24 had 20 percent of it down there, I would have a
25 criticality problem in the lower plenum. I mean,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you're going to have a major clean-up problem, but
2 it's going to be an oscillating criticality event.

3 MR. DiMARZO: Right, but the pump case --

4 DR. POWERS: That's right. That's right.

5 Yes.

6 MR. DiMARZO: But with that caveat, what
7 it's saying essentially, our strategy has been to take
8 a very crude thermal hydraulic analysis -- very, very
9 crude, not conclusive on a lot of things -- and pass
10 it to neutronics, where we spent most of our effort.

11 CHAIRMAN WALLIS: It's not crude, it's
12 limited.

13 MR. DiMARZO: It's limited situation. The
14 first one --

15 CHAIRMAN WALLIS: In the natural
16 circulation case, you were looking at the worst thing
17 that could happen. No mixing, where there is mixing,
18 and only fuel mixing where you know there must be
19 mixing.

20 MR. DiMARZO: Right.

21 CHAIRMAN WALLIS: And the biggest slug you
22 could possibly jam into the space.

23 MR. DiMARZO: And zero borated water
24 running into --

25 CHAIRMAN WALLIS: So I think you need to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 make that clear, that you've made the worst case
2 assumptions.

3 MR. DiMARZO: Very, very worst case. No
4 internal vessel circulation, no downcomer mixing,
5 nothing. Given that, which is really very, very aware
6 from best estimate possible sense, it's really -- We
7 have difficulty creating a problem, in a sense.

8 So that leads us to this statement, which
9 has to be a -- but that's the first five. Now that
10 leaves another issue. Which -- Actually two other
11 issues.

12 The first issue is what about non-PWR,
13 BNW, lower vessel for this configuration? In all
14 those, the storage space that is available to you is
15 not 43 meters cubed, but is more rather one or two
16 meters cubed, because you're only dealing with the
17 legs, with the loop seal and so forth.

18 CHAIRMAN WALLIS: See, then the worst think
19 you could generate is not enough volume, but there --

20 MR. DiMARZO: Above, they're above, so you
21 can't store because it flows out. And so, essentially,
22 you are limited in what you have, and when you start
23 moving such a thing, the first thing that happens is
24 that the tail starts to choose the form.

25 And at that point there is no way of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 getting that kind of a deep type problem that he was
2 mentioning.

3 CHAIRMAN WALLIS: Have you looked at
4 international work on this boron problem?

5 MR. DiMARZO: Yes.

6 CHAIRMAN WALLIS: Is it just your work, or
7 did you make any comparisons with other people's work?

8 MR. DiMARZO: They did all kinds of
9 different scenarios. Mostly they are pumped.

10 CHAIRMAN WALLIS: I remember when we
11 visited --

12 MR. DiMARZO: They have a pump.

13 CHAIRMAN WALLIS: -- the Germans seemed to
14 be very concerned about this boron problem. But you're
15 saying it's not a problem. Is that because they pump?

16 MR. DiMARZO: They have the pump.

17 DR. POWERS: Well, I think that the Germans
18 are concerned with the build-up of unborated water
19 during the shut-down operation. And then that pumps a
20 transient.

21 MR. DiMARZO: It's not a small-break
22 scenario. It's another scenario.

23 CHAIRMAN WALLIS: It's a completely
24 different scenario.

25 MR. DiMARZO: It's not decision, in other

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 words, this is a small break.

2 DR. RANSOM: And you use the steam
3 generator, you get the boiler condenser more easily as
4 reflux from the up B2, which means it drains back to
5 the hot leg and directly into the core.

6 MR. SCOTT: That's the answer. The Germans
7 have this so-called ROCOM a large, Plexiglass, they're
8 looking at mixing in the downcomer as well in the
9 lower plenum. But it's for other scenarios besides the
10 small-break LOCA; there's the so-called Finnish
11 scenarios, there's a Swedish scenario, there's four or
12 five of these dilution-type scenarios. And most of
13 them may even only have leakage backwards through the
14 steam generator.

15 MR. DiMARZO: Secondary leakage in the
16 back.

17 MR. SCOTT: So you can get unborated water.

18 MR. DiMARZO: There are a lot of scenarios
19 here that can get you into trouble, no question about
20 it.

21 CHAIRMAN WALLIS: That's not part of this

22 --

23 MR. DiMARZO: But in this issue.

24 MR. SCOTT: There's a PKL we're actually a
25 part of that --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: So this GSI isn't about
2 all boron transients, it's just about small-break.

3 MR. DiMARZO: So we would like to basically
4 wrap up the natural circulation part of this issue.
5 What about the pump part? Well, the pump part is such
6 that our indications are that we're going to have a
7 problem with the pump at this level of the game.

8 Therefore, the idea here is to establish
9 whether we believe that this pump is not going to be
10 turned on, or not, in a probabilistic sense. And that
11 type of situation.

12 So, if the answer to that is we don't
13 believe that the pump will stay shut off, the only
14 consequence to that is a full-blown, CFD-validated and
15 experimental course of action to establish what is the
16 mixing in the downcomer, lower head, RVVs and all
17 that.

18 CHAIRMAN WALLIS: This would most likely be
19 the operator's mis-diagnosing the transient, so that
20 they start the pump thinking they have a different
21 kind of transient?

22 MR. DiMARZO: They don't recognize that
23 they went to a BCM, for example, and so forth.

24 DR. POWERS: Yes, they recognize that these
25 are applied --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SCOTT: Let me at least do my thing, I
2 think it's -- They have to know what the symptoms are
3 so they can make a decision.

4 MR. DiMARZO: Yes, but wait a minute.
5 That's the key situation. Now, I want to point out
6 that this has been done, so far, with very little
7 involvement of effort and time, the Brookhaven being
8 the lion's share, and then this analysis that you
9 asked me in an hour, in 20 minutes I come back with
10 another curve.

11 So it's not that this is a big thing. Now,
12 the one that we are talking about, which is discussing
13 the pump issue full-blown, is a completely different
14 story.

15 And we had a plan for that, we priced it
16 and everything, and that was a very massive thing.
17 That's why at Research we decided to break it down
18 into these two areas, and present it.

19 CHAIRMAN WALLIS: So you're proposing to
20 close the issue, aren't you, on the basis of some --

21 MR. DiMARZO: If the presumption -- I'll go
22 a step further. So we say that pump is not an issue.
23 Pump, we can deal with pump. So what we are saying is
24 that if we can convince ourselves that the operating
25 procedure as such, that the pump will not come on at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the end of the day.

2 CHAIRMAN WALLIS: But you can't do that.
3 You have to look at probability of this happening.

4 MR. DiMARZO: Right, I'm not making the
5 statement that we have done that part, okay? All I'm
6 saying is, if we can convince ourselves that the pump
7 are not going to come on at the end of the day, then
8 we recommend --

9 CHAIRMAN WALLIS: That's not a yes or no,
10 it's a probabilistic argument you have to make,
11 presumably. You get into this human factors PRA, and
12 then -- It's a bit of a jungle.

13 MR. DiMARZO: Yes, but at the end of the
14 jungle you come out with some estimate that will tell
15 you I'm okay or I'm not okay.

16 CHAIRMAN WALLIS: But you can't recommend
17 closing the issue without a thorough discussion of
18 human factors and the probabilities and why you've
19 reached this conclusion.

20 MR. DiMARZO: Exactly.

21 MR. SCOTT: Oh no, I don't think that would
22 necessarily be true.

23 CHAIRMAN WALLIS: You don't think so?

24 MR. SCOTT: No. We don't examine in detail
25 every transient that's possible. We think we don't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 look at a lot of details of severe accidents. The risk
2 inform guys were here a month or two ago, it sounded
3 like there were certain -- they had cut-offs in these
4 metrics, they just don't keep looking.

5 MR. ROSENTHAL: Even though I have a good
6 excuse, at the very beginning, Harold spoke about a
7 risk of like a one minus five event as the estimate.

8 And now, even if you say one out of ten in
9 human performance, you are going to be -6 or --

10 CHAIRMAN WALLIS: Well that's what you get
11 when you --

12 MR. ROSENTHAL: When you say that you have
13 -- This is not, a minute's time response, which that
14 human recovery curve looks like, the next dimension,
15 that ACR model.

16 But is a couple of hours out in time.

17 CHAIRMAN WALLIS: It's into the next shift.
18 It's not -- It may be in the next shift of operators.

19 MR. ROSENTHAL: It's not when you're doing
20 critical or turnaround --

21 DR. POWERS: This is an error of
22 commission. And nobody has a clue what probability to
23 attach to that. And the longer the time, the more
24 likely it becomes there is an error of commission,
25 rather than an error of omission.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ROSENTHAL: Because of thinking.

2 DR. POWERS: Yes, thinking, that's right.

3 And these are highly stylized accidents we're looking
4 at here. The real accident has all kinds of
5 permutations. The kind of people that react, and make
6 errors of commission.

7 CHAIRMAN WALLIS: Something else happens as
8 well, like in TMI, they get confused.

9 MR. ROSENTHAL: That's right.

10 CHAIRMAN WALLIS: So you need to quantify
11 this, and you're going to quantify it by saying it's
12 a 10^{-5} event and out of the blue you're going to say
13 it's only a ten percent chance that they'll make this
14 error of commission? That's going to be the rationale?

15 MR. ROSENTHAL: Yes.

16 CHAIRMAN WALLIS: What's the basis for this
17 ten percent error of commission assertion?

18 MR. ROSENTHAL: No, that -- What I said is
19 that all you have to do is buy yourself the order of
20 magnitude.

21 CHAIRMAN WALLIS: So how do I know it's
22 reasonable?

23 MR. ROSENTHAL: I use my HCR model, I mean
24 not on the spot.

25 DR. POWERS: Wouldn't you -- I mean, you're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 going to get the argument here. We have sensitized
2 everyone to this, they'll train on not bumping the
3 pump. And that will keep the error of commission rate
4 down.

5 I mean, we presume that's there some sort
6 of an error-shaping factor, even associated with
7 errors of commission.

8 CHAIRMAN WALLIS: But would they fail to
9 bump the pump at other times when they should be
10 pumping?

11 DR. POWERS: That may raise the probability
12 there.

13 CHAIRMAN WALLIS: No, seriously.

14 DR. RANSOM: Are there situations where
15 they should bump the pump?

16 DR. POWERS: Yes.

17 MR. SCOTT: If you go into my hand-out,
18 come to this page, and we'll start from there. So I'm
19 going to go Framatome, Combustion, Westinghouse, and
20 we'll talk about what they did and --

21 CHAIRMAN WALLIS: This is the other
22 reactors?

23 MR. SCOTT: In the agenda you mean?

24 CHAIRMAN WALLIS: This is not BNW, this is
25 other types --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SCOTT: Well, I'm going to start off
2 with BNW, and I'm going to show the procedure for
3 Combustion and the procedure for Westinghouse, and
4 talk about starting the pumps.

5 CHAIRMAN WALLIS: Okay, so Framatome covers
6 all of these kinds of reactors.

7 MR. SCOTT: No, Framatome covers BNW
8 reactors.

9 CHAIRMAN WALLIS: Oh.

10 MR. SCOTT: I'm sorry, this is the BNW
11 Owners' Group guidance. It's published by Framatome.

12 CHAIRMAN WALLIS: Okay. Well they also have
13 Westinghouse reactors?

14 MR. SCOTT: No. They make fuel. Well, in
15 Europe --

16 CHAIRMAN WALLIS: In Europe they have
17 Westinghouse reactors. Okay, that's where --

18 MR. SCOTT: This is U.S. OTSG type. So as
19 we've said there's the -- You can get the boron
20 dilution from these kinds of whatever model -- And
21 this is what, Victor, you were talking about.

22 You have steam blowing around because
23 there's no pressure, that the vent valves can open.
24 And I'll show you a picture that, because think of the
25 last meeting, Sandro didn't want to see a picture of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that.

2 But there might be voids because we've
3 been sitting around without pumps for awhile. This is
4 another way to get some reactivity, just the fact that
5 once you cool the core off, the voids disappear and it
6 adds a small amount of reactivity.

7 But the procedures say, and the guidance
8 say, and at this point in the accident, the technical
9 support center guys are sort of running the show. If
10 this, then do not start the RCP. If I see there's
11 several places in this procedure guidance.

12 So here's the criteria for starting the
13 pump. If sub-cold two natural circulation verified for
14 60 minutes, and sub-coolants greater than 30 F, or if
15 one loop is verified for 210 minutes.

16 And you've had high-pressure ejection
17 flow. In this case you want to start the coolant pump
18 in the loop that has natural circulation flow. So, it
19 looked to me like they have drills and training and
20 guidance that gives them a substantial reason to start
21 the pumps only if they sort of know they have natural
22 circulation, which we already show has moved the
23 unborated slug to the core.

24 CHAIRMAN WALLIS: If you have natural
25 circulation you've already cooled the core.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SCOTT: Yes, and --

2 CHAIRMAN WALLIS: Time is on your side. Why
3 would you want to start the pump, unless you want to
4 start the whole reactor again?

5 MR. SCOTT: Well, I have a slide here
6 that's going to give you some reasons why they --

7 CHAIRMAN WALLIS: Restart?

8 MR. SCOTT: The next one, if you'll go to
9 the next one, we'll talk a little bit about why they
10 want to start it. Because this may come back to this
11 idea of, well, what if they do it inadvertently. If
12 they're really anxious to start it, then there's
13 pressure to start it.

14 But it looked to me like -- I mean, we
15 once thought after Three Mile Island that the first
16 thing the guys are going to do is get the pump going,
17 get the pump going. But these are some of the reasons
18 why they would want to do it, and they don't seem to
19 be that significant.

20 You would like to get the pumps going
21 because you want to try to control pressure, and you
22 want to control cool-down. I mean, if I don't have --
23 I could get pressurized thermal shock if I cool it
24 down too quickly.

25 I think there were two reasons here, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 don't now see the second one. Well, let's say you
2 don't have pressurizer spray flow, because that comes
3 from the -- at least in these machines -- you have to
4 have a pump running to get the pressurizer.

5 Now, you have to get pressure control
6 back. You'd really like to get back to something
7 that's stable. If you have sort of on and off flow,
8 you're going to get --

9 It just doesn't look too good. So there
10 are a couple of reasons to try to get the pumps going,
11 but it didn't appear to me to be particularly urgent.

12 DR. RANSOM: Well, in this sort of
13 scenario, what's a long term? I mean, your break is
14 only about --

15 MR. SCOTT: Well, if you can't isolate it
16 it's still open. Hopefully by now you've got whichever
17 HPI pump wasn't running before is now running. You're
18 filling the system up. You're coming back to an
19 equilibrium.

20 You're starting to cool down.

21 DR. RANSOM: Now I'm wondering why would
22 you ever want to start the pump under those
23 conditions? You know, natural circulation has got you
24 cooled down, and --

25 MR. SCOTT: If you want to stay on natural

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 circulation, if you're confident it won't quit on you,
2 then you could stay on it. If you've got plenty of
3 water going.

4 DR. RANSOM: What good would starting the
5 pump do?

6 MR. SCOTT: It would help you cool down
7 better. It would stabilize --

8 DR. RANSOM: But you're saying, well, if
9 the HPI were to fail, even under those conditions,
10 you're still in trouble.

11 MR. SCOTT: Well, you could last a little
12 bit longer if you had some coolant flow. That may
13 come up in the Westinghouse. Let me now go to --

14 CHAIRMAN WALLIS: Now wait a minute. These
15 are for certain classes of small-break accidents only,
16 aren't they?

17 MR. SCOTT: That's right. If the break size
18 is too small --

19 CHAIRMAN WALLIS: How do they know they're
20 in that class of accident, and not in something else?

21 MR. SCOTT: Well, if it's a larger break,
22 the pressure probably would be down much faster. If
23 it's a smaller break, the pressure might have hung up
24 higher. I don't think it matters exactly what break
25 size they have.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The question that matters is do they think
2 they have a pocket of unborated water. They would
3 know if they did in BCM. You would probably know if
4 you had.

5 MR. ROSENTHAL: If I may, let me throw in
6 a couple of comments. One of the considerations on
7 running pumps is it basically just makes it much
8 easier to control your plant.

9 And it is desirable to be there if you
10 feasibly can, and you don't have a risk otherwise.
11 With respect to if the pumps are not running and
12 restarting them, notice what Harold put up there is
13 independent of any kind of an accident.

14 These are things that the operator can see
15 and respond to. Not that one, but the one with just
16 the criteria. It makes a difference whether you've got
17 a LOCA or anything else.

18 Here are the criteria. So when we start
19 to, for example, make comparisons to the TMI accident,
20 remember these kinds of things weren't in place there.
21 Today you have it laddered such that you can't turn
22 off HPI until you have established some coolant
23 direction and you've got levels.

24 Those things weren't there. It makes no
25 difference what kind of an accident you have ongoing,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it is those criteria that essentially ensure what
2 you've got the conditions in that will give you core
3 cooling.

4 CHAIRMAN WALLIS: So it's having HPI
5 running which is key?

6 MR. SCOTT: Well, for example, let's say
7 you had no steam generator heat sink. There would be
8 no point to run the pumps. Even if you pump water over
9 the generator, you're not going to get rid of the
10 heat.

11 So in that case you're in feed and bleed
12 mode. You've got to hope you get your energy through
13 the break, and you can keep pumping in cold water.
14 Now, this is from the -- this NUREG is the safety
15 evaluation report for the combustion engineering AD
16 plus system.

17 In that safety evaluation report, they
18 determine that this particular small-break LOCA
19 scenario with boron dilution was satisfactory; would
20 not be a problem.

21 It didn't go into a lot of details, but
22 one thing we did notice was if you can keep the boron
23 at or above 550 ppm, at this low temperature, you
24 would not get any power spikes.

25 And as we've said before, only during the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 beginning of the cycle. At later times in the cycle,
2 this number could be lower. I think we saw the numbers
3 that Marino added, it dropped down to about 500?

4 Yes, the minimum was --

5 CHAIRMAN WALLIS: This is the boron during
6 a transient? Or is it -- What's --

7 MR. SCOTT: Yes, yes, the boron infusion.

8 CHAIRMAN WALLIS: How do you know what the
9 boron is during a transient? You have to calculate it.

10 MR. SCOTT: The guidance would help.

11 CHAIRMAN WALLIS: So --

12 MR. SCOTT: But you calculate it.

13 CHAIRMAN WALLIS: I don't see it what this
14 helps you. You have to now predict whether or not you
15 have a boron of 550 ppm.

16 MR. SCOTT: Yes. I'm saying, so for many
17 transients, I think the boron started at 2500. I think
18 even in this particular plant what they did was they
19 raised the boron, such that maybe it starts at 3000.
20 If it only drops down to 700, they're okay.

21 CHAIRMAN WALLIS: Is this using exactly --
22 This is not using the same thought process you used --

23 MR. SCOTT: No.

24 CHAIRMAN WALLIS: Now, what models did they
25 use?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SCOTT: They used mixing in the
2 downcomer, mixing in the vessel, but no mixing in the
3 steam generator outlet plenum, as I recall. So they
4 sort of did the opposite. We assumed --

5 CHAIRMAN WALLIS: But we just saw earlier
6 on there was a CFD knot model, mixing Framatome, yet
7 they've used similar models?

8 MR. SCOTT: You can get experts up here
9 that will tell you CFD is great stuff, and that you
10 can do that. He doesn't believe it, but other people
11 do. Jack has guys working for him that believe it, and
12 convinced him.

13 But now notice the thing here. See, once
14 again, the tech support center guys are running the
15 show, but they only require 20 minutes under natural
16 circulation, not an hour.

17 MR. DiMARZO: But I think if you do 20
18 minutes of this natural circulation, this thing is
19 long gone. Rolled back --

20 MR. SCOTT: The bubble has gone around to
21 its --

22 MR. DiMARZO: So if the requirement for a
23 restart is that you establish first natural
24 circulation, right? And if you have natural
25 circulation for one loop flowing, one loop turnaround,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you can do whatever you want.

2 There is absolutely no issue. So if that
3 is a requirement for everybody, for example, then you
4 can take the thing off the table.

5 MR. SCOTT: Just one second. So there is
6 some mixing down here. They only had -- It's in much
7 smaller volume, in their machine, in the BNW machine.
8 And their minimum boron was only 1350, so they were
9 way, way higher than this slide.

10 So that's why they have two --

11 DR. FORD: So when the question -- I'm just
12 trying to follow the rationale. When combustion
13 engineering came up with these criteria, how did you
14 read them? How did NRR read them?

15 MR. ROSENTHAL: Wait, let me just say that
16 Warren Line has been that in the reactor systems
17 branch since Mother Earth, and I know because I was --

18 (Laughter)

19 MR. ROSENTHAL: But the trouble is that I
20 was his supervisor when we reviewed B&W Web Zero of
21 the two point procedures and he also was the
22 combustion number and has been involved ever since. So
23 Warren I --

24 MR. SCOTT: Tony Etarda, I think, is the
25 one who probably did the review of this.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 PARTICIPANT: I can speak to BNW, they're
2 up to reg nine, by the way, but I have not been
3 involved in detail with the combustion work in the
4 past few years, so I would defer to others.

5 MR. SCOTT: They asked for specific
6 analysis, so when combustion was submitting the AD+
7 design, one of the requests for additional information
8 --

9 DR. FORD: I guess, my question's more
10 procedural, really. That for the Babcock designs we
11 cited, CFD doesn't work. And we went into this
12 simplified, slug-flow thing.

13 But an earlier submission, this combustion
14 one, we decided it was okay. So what changed?

15 MR. SCOTT: I guess either different people
16 doing the review, or maybe the scenario was slightly
17 different. The modeling was a little bit different. I
18 mean, I maybe could accept CFD in one case, and not in
19 another.

20 DR. FORD: So, how does NRR decided which
21 is the correct procedure for reviewing?

22 MR. SCOTT: I guess I don't know.

23 CHAIRMAN WALLIS: I think these are very
24 good questions that you keep asking.

25 PARTICIPANT: NRR effectively took a look

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 at the configurations and reached a conclusion that
2 the BNW design that makes the steam supply system, was
3 the most challenging with respect to this boric acid
4 dilution situation.

5 That's the one that we should look at
6 first. And we basically asked research to give us a
7 hand with that. Go back, study it, and come back and
8 tell us what their recommendations were, what their
9 findings were.

10 We were not as concerned on a judgment
11 basis with the combustion in the Westinghouse design.
12 Principally because, as research has told you today,
13 the volumes were much smaller, and in our judgment,
14 the concern just really wasn't there.

15 CHAIRMAN WALLIS: Well, that's what you
16 should be telling us. I mean, this business of mixing
17 minimum boron and 1350 doesn't tell me anything. I
18 don't know what kind of boron to expect, under what
19 conditions, under what assumptions, or what?

20 It doesn't really tell me anything. And if
21 you would do a de matso type limiting analysis for CE
22 and come back and say, "No problem," then you've got
23 some sort of comparison basis.

24 Do you see the difficulty I have? Maybe
25 it's the difficulty my colleague has too.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SCOTT: Well, the point seems to be
2 that somebody already did this, and looked at it, and
3 accepted it. I don't know, they may have had --
4 combustion may have provided some assessment with that
5 model.

6 I mean, that's what we would do. If
7 somebody gave me a CFD answer, and said, "Well, here's
8 the basis for that. Here's the assessment document for
9 these particular calculations, or this particular
10 code," and I was happy with both of them, then I would
11 accept the conclusion.

12 I wouldn't necessarily have to go off and
13 redo the calculation, or do a sensitivity study if I
14 was willing to accept it. Since I didn't do that
15 review and didn't actually talk to anybody who did it,
16 I can't give you the details of why they accepted it.

17 PARTICIPANT: We do not specifically and
18 continuously review all aspects of the emergency
19 procedures guidelines for the emergency procedures.
20 What we effectively did in past years was conducted a
21 review that terminated when we reached a conclusion
22 that they essentially had it covered.

23 And we then told them, go ahead and
24 continue with improvements as you recognize them.
25 While we retained the right to go back and select how

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they look into these things as they come up, if we
2 need to.

3 So with respect to emergency operating
4 procedures, we very well may not have looked into the
5 kind of detail that you are being shown here. But we
6 certainly have the right to go back and do that if we
7 feel that it's necessary.

8 MR. ROSENTHAL: Let me look at the top half
9 of the slide. First of all, if you would just do
10 static presence calculations, broad ones, for a
11 typical pressurized water reactor, you would say that
12 typically about half the rod worth is tied up -- half
13 the reactivity that's being shut down in this cycle is
14 tied up in these rods.

15 And about half of that is soluble boron.
16 It's not unusual at all to see that about 300 --
17 Assuming that you put all the rods in. You pull the
18 plant down, about 300 F, you run out of rod worth,
19 assuming all the rods were at maybe 350 where most
20 reactors start rods.

21 And you see you've got to get some boron
22 in there. So the first statement is simply, they're
23 saying, "Hey look, if you're trying to cool this plant
24 down, you've got all the rods in, you've got five, six
25 hundred ppm, you could cool it all the way down.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 You're just not going to go recritical."

2 Okay, take that and put it on the shelf.
3 The next set of points is they're saying, "Hey, wait
4 a minute. There's a restart strategy." And if you take
5 that restart strategy, you say, "I'm not going to have
6 a problem with a deborated slug causing me a
7 recriticality."

8 CHAIRMAN WALLIS: It doesn't that, though,
9 it just says, "Here's the strategy." There's no
10 conclusion.

11 MR. ROSENTHAL: Yes, but, I mean, but think
12 of all -- And so I don't even need the third bullet,
13 because I know that if the 20 minutes, it's done.

14 CHAIRMAN WALLIS: What you mean is --
15 That's the strategy, but why are you okay?

16 MR. DiMARZO: Because the natural
17 circulation -- We just said that we have basically
18 done is to show you that that kind of a slug in this
19 kind of a plant is a non-issue in natural situation.

20 CHAIRMAN WALLIS: You haven't. You've
21 talked about B&W.

22 MR. DiMARZO: Yes.

23 CHAIRMAN WALLIS: And you've got to put the
24 CE on the same plane or something so I can understand
25 it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DiMARZO: Right. That is a correct
2 point.

3 CHAIRMAN WALLIS: Well, can't you do that?
4 Because otherwise I'm left still not quite
5 understanding. It looks as if a different way of
6 evaluating CE is being used here, and I don't know
7 what to make of it.

8 Because you've done all this stuff trying
9 to explain to me what you did with B&W.

10 MR. SCOTT: This is in '94.

11 CHAIRMAN WALLIS: Yes, but that's history.
12 Now what are you going to do now, and why?

13 MR. SCOTT: If I went back and revisited
14 the combustion plant, what would I do?

15 DR. FORD: You'd have to conclude that the
16 CFD, unless you've got some good observations versus
17 theory.

18 MR. SCOTT: I think in this case I would
19 say, if they're going to do this, if they're going to
20 wait for 20 minutes of natural circulation, I don't
21 need to do a calculation.

22 CHAIRMAN WALLIS: Why not?

23 MR. DiMARZO: For the pump. You have to
24 still do a calculation because you have to still do it
25 some certain time after natural circulation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: Is this because you get
2 adequate mixing up to 20 minutes is equal to five loop
3 circulations?

4 MR. SCOTT: I'm not going to have a diluted
5 slug --

6 CHAIRMAN WALLIS: There won't be a slug
7 anymore.

8 MR. SCOTT: Right.

9 CHAIRMAN WALLIS: Well, tell us that.
10 Otherwise, I don't understand why you're reaching a
11 conclusion.

12 MR. SCOTT: Okay. I see what you're saying.
13 It wasn't obvious that the slug is gone.

14 CHAIRMAN WALLIS: No. So again, it depends
15 upon the restart strategy. Again, it's up to the
16 operators to do the right thing.

17 MR. DiMARZO: Although, with this kind of
18 plant, we don't have a problem with natural
19 circulation either. If they start the pump --

20 CHAIRMAN WALLIS: Yes, but if you had done
21 your pump bump thing. I think you ought to do the pump
22 bump and say what's the conclusion of that? And then
23 say, this is how they avoid it.

24 And you haven't done that. Are you going
25 to do that, or is this a link which is left unforged?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SCOTT: At the moment I don't have any
2 plans to do any more calculations.

3 CHAIRMAN WALLIS: So you're going to say
4 you've reached conclusions on B&W plants, and you're
5 going to give us a better argument, perhaps, about why
6 you don't worry about CE, or worried about CE because
7 it was never in the GSI in the first place?

8 MR. SCOTT: Yes.

9 MR. ROSENTHAL: Well, I think that it
10 should be -- To say that just because it wasn't in the
11 GSI is a little too narrow. Do we really want to have
12 a written approach?

13 CHAIRMAN WALLIS: So you're going to have
14 a more cogent argument in front of the full committee?

15 MR. SCOTT: The argument is that if I don't
16 restart the pumps, we don't think there's a problem.
17 And if I selected the situation, the case, for the BNW
18 machine, which had the worst volumes etcetera.

19 So if I take another machine, a combustion
20 machine, the Westinghouse machine, that has smaller
21 volumes, maybe has other uncertainties, and I know
22 that I don't start the pump without meeting the
23 criteria, I'm not going to get a reactivity.

24 CHAIRMAN WALLIS: Well, I would like then
25 to have some sort of a table that says, here are the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 volumes for B&W, the volumes so you know the number,
2 this is the conclusion I reached from a de matso type
3 analysis for each three, and these ones are nowhere
4 near as bad as B&W because...

5 MR. DiMARZO: And then we can rule on that
6 very thing.

7 CHAIRMAN WALLIS: So you're going to do
8 that first before the end of the week? Or whenever it
9 is you appear in front of the committee? Maybe we
10 could take a break and come back and do it.

11 Well do you see the problem we have? It
12 seems that they should all put on the same -- develop
13 a rationale for one, develop the same rationale for
14 the others.

15 MR. DiMARZO: The pump is about four meters
16 cubed, give or take. The slug is about 7.4 meters
17 cubed. So when you take that slug of 7.4 meters cubed
18 and you pass it through the pump, at the same
19 rationale that we've had before, that thing is not as
20 smooth. Okay?

21 CHAIRMAN WALLIS: Okay, that's the real
22 idea.

23 MR. DiMARZO: The front of that thing is
24 such that we -- it's much milder than, say, Case B we
25 showed you, which wasn't in, and we don't know. So

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that would be the way we would essentially rationalize
2 that point.

3 CHAIRMAN WALLIS: You're going to show a
4 picture which shows why you can't get more than 7.4
5 meters cubed?

6 MR. DiMARZO: We will show a comparison of
7 that trace versus the trace of Case B, which you have
8 established being the worst possible --

9 CHAIRMAN WALLIS: Okay. So this is your
10 Case B for C system 80.

11 MR. DiMARZO: Exactly. And it will be much
12 milder than this.

13 CHAIRMAN WALLIS: Here are the numbers, and
14 look, the transient is so much more than, because.

15 MR. DiMARZO: Exactly.

16 DR. FORD: But if you're basing your
17 argument purely on volume, your slug, the sensitivity
18 in the boron dilution, is that going on a direct
19 volumetric basis?

20 The dilution rate, which is the critical
21 parameter to go along with the enthalpy. Is it a
22 straight, one-to-one ratio? I mean, it's almost saying
23 that if you --

24 MR. ROSENTHAL: You'd erode the boron the
25 same for both kinds of plants. Dave, can you answer

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that?

2 MR. DIAMOND: For both types of --

3 DR. FORD: My question essentially was just
4 a straight mathematics one really. For making the
5 argument, the problem is not so much with the
6 Westinghouse combustion purely because the volume of
7 the slug is two times lower.

8 Does that necessarily mean that the boron
9 dilution rate is necessarily two times --

10 CHAIRMAN WALLIS: He's going to say it's
11 much, much less. So the volume is the same order of
12 magnitude as the mixing in the pumps, so it really
13 gets mixed.

14 There really isn't a slug anymore.

15 MR. DiMARZO: What we have established from
16 Dave's calculation is that you've got to be on the
17 order of a 1000 ppm per second, which is a pump case.
18 We're dealing here probably with damage with or
19 something like that.

20 CHAIRMAN WALLIS: Okay, but we have to dig
21 these arguments out.

22 MR. DiMARZO: But we have to put the
23 numbers down on the table.

24 CHAIRMAN WALLIS: Right. And you're going
25 to do that before you make this presentation before

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the full committee? This sounds like a rehearsal for
2 a Ph.D. presentation or something.

3 MR. ROSENTHAL: Why don't we finish the
4 presentation. We'll add up all the IOUs, and then
5 we'll decide --

6 CHAIRMAN WALLIS: Well, I haven't really
7 seen the presentation yet, because it seems to be
8 coming out in fits and starts. It's not on the slide,
9 it comes out of Marino's mouth.

10 MR. ROSENTHAL: Yes, what I'm saying is if
11 you let Harold finish, we'll sort of add up all the
12 IOUs and then decided if we can go near the full
13 committee at this time, or need a moment.

14 CHAIRMAN WALLIS: But he sounds as though,
15 on one hand we're told, take 20 minutes to make a
16 decent presentation, prepare a decent preparation. On
17 the other hand, you're not quite sure if you're ready.

18 MR. ROSENTHAL: We'll add up all the IOUs.

19 MR. SCOTT: What I want to do in this slide
20 is to, with this -- This appears to be an actual EPG,
21 not just some guidance type thing, but they -- the
22 question now, of course, is well, how do you know you
23 have natural circulation?

24 And I was told to wait 20 minutes, or in
25 the early phase 300 minutes, or sometimes 60 minutes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 What evidence is there that you have a natural
2 circulation, so here's a sheet that sort of shows you
3 what symptoms that we look for.

4 Cold legs, sub-cooling. And the next page
5 in your hand-out --

6 DR. POWERS: And the fact is that the
7 process by which you go through the CFD and verify you
8 have natural circulation is one that's pretty
9 established.

10 MR. SCOTT: Yes.

11 DR. POWERS: I mean, that's one that
12 varies. The operators actually --

13 MR. SCOTT: I talked to one of the guys at
14 Chattanooga to sort of find out can they run the
15 simulator down there and show me some stuff, because
16 I don't know whether if I ran RELAP or not, I wouldn't
17 know what to look for exactly.

18 Whether or not I have boron, it's natural
19 circulation that's going to be -- Let me now then jump
20 to, I think the next slide is Westinghouse. Evidently,
21 this is not a full report but this is --

22 They haven't done any calculations that I
23 could find, but they did do a similar deal for the
24 AP600. Once again, this is the same evaluation report
25 for the AP600 design.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And what I'm trying to say with this slide
2 is what was the basis for accepting the small-break
3 flow with boron dilution scenario? We didn't -- So
4 once again, the volume, as Marino was saying, for this
5 paper design is extremely small, and once again you
6 have to get --

7 You have a much wider number to shoot for
8 for the boron. Now, that number didn't say critical,
9 it said avoid fuel damage. And I don't know exactly --
10 I couldn't find what that number meant.

11 CHAIRMAN WALLIS: What's the normal --

12 DR. POWERS: No fuel damage, my
13 recollection of AP, no fuel damage meant less than one
14 percent damage.

15 MR. SCOTT: I didn't put in anywhere the
16 word "no" or "none". You're saying somewhere they
17 define --

18 DR. POWERS: My recollection now that they
19 deploy, with too many things coming in --

20 MR. SCOTT: Yes, in this case, I don't know
21 whether this might be 280 calories per gram, 240
22 calories per gram, 200, I don't know what that number
23 is.

24 CHAIRMAN WALLIS: Now is this boron, I'm
25 sorry. Boron of 1200 ppm to avoid fuel damage, is that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 minimum boron?

2 MR. SCOTT: That's the minimum. Once again,
3 the minimum.

4 CHAIRMAN WALLIS: But obviously it has to
5 be maintained for some time. I'm astonished with these
6 small volumes that you have to worry about boron at
7 all. And apparently you do.

8 MR. SCOTT: Well, the paper had a -- I
9 didn't bring the little plot, but it goes along at
10 some high level, it dips down, it doesn't go below
11 1200, it goes back up, and it didn't seem to be more
12 than few tens of seconds.

13 MR. DiMARZO: Let me put a statement. If
14 you try to go by natural circulation. You form the
15 slope, and it's 1.2 meters cubed in length. In order
16 to restart natural circulation, you have established
17 that you've got to go through a fast procedure in
18 order to retain the front and the back of the slug
19 sharp.

20 Once you do that, you reposition the slug
21 somewhere in the tubes, then you start natural
22 circulation --

23 MR. SCOTT: But I don't have a steam
24 generator in this case. The geometry's completely
25 different. The slug's not forming in the steam

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 generator.

2 But it's not, there's no off-speed one, if
3 they don't -- The cooling comes through the passive
4 residual heat removal in the containment water.

5 MR. DiMARZO: I understand that, but the
6 problem is that you are invoking a natural
7 circulation. Is that what you're saying?

8 MR. SCOTT: Yes, you're right.

9 MR. DiMARZO: See, if we are dealing with
10 natural circulation, you go through the system. And
11 within the system, we must place the slug up in the
12 steam generator.

13 As soon as he enters the steam generator
14 of the plenum, this thing doesn't exist anymore.
15 Because steam generators of the plenum are large. So
16 it's going to be lost. At that particular point you've
17 got no front to talk about. This thing is just a
18 dimple.

19 CHAIRMAN WALLIS: And yet there still is
20 some requirement on the boron.

21 MR. DiMARZO: Now if you pump it, you have
22 the thing intact, and you're pushing it in. That's
23 another story. But that goes into story previously
24 said. We have to mark one line down.

25 CHAIRMAN WALLIS: Well can't you quantify

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what you've been telling us then?

2 MR. DiMARZO: I can definitely quantify it.

3 CHAIRMAN WALLIS: And in some kind of --

4 MR. DiMARZO: Because I know the volume of
5 the steam generator --

6 CHAIRMAN WALLIS: -- presented way so the
7 logic is clear.

8 MR. DiMARZO: Clear. We can do that -- We
9 haven't done that, but it's not a problem on the
10 natural circulation side. On the pump side, it's a
11 completely different issue, and we haven't touched
12 that, because that requires much more refined, higher-
13 order analysis.

14 But as long as we stay in the natural
15 circulation side of things, it's extremely simple and
16 we'll give you a table. It's going to take us some
17 days. That's not an issue.

18 See what I'm trying to say? I have two
19 cases, pump, no pump. Pump, natural circulation. And
20 that is the major divider. All these pumps and
21 strategy to restart the pump belong to the fact that
22 if you want to do pump here, we need to have tools
23 which we haven't developed.

24 CHAIRMAN WALLIS: Well, this is quite new.
25 There isn't a problem with the pump start with these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 other reactors. There's such a small volume, there
2 really isn't any build-up of unborated water.

3 Stop the pump and the little bit of a
4 transient. Nothing happens of any interest whatsoever.

5 MR. DiMARZO: We can probably recognize in
6 this one. In the other one, it's -- One point two
7 meters cubed, there's no question. The other is seven
8 meters cubed.

9 CHAIRMAN WALLIS: Well, why can't you show
10 that?

11 MR. DiMARZO: Yes, we can. We can do that.
12 Those two are easy.

13 MR. SCOTT: Now let me go to a non-AP600
14 Westinghouse, because I thought this would be on your
15 screen, the conditions under which phase we start the
16 pump.

17 Well, this says it should be started. The
18 implication is it would not be started before. That's
19 only when the outlet thermal couple show 1200 F. So if
20 it's not able to be pressurized, it gets heat
21 transferred.

22 Or he doesn't have a secondary heat sink,
23 then he's going to try to start the pumps.

24 CHAIRMAN WALLIS: Greater than 1200 F?
25 That's super-heated steam?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SCOTT: This pressure at the bottom.

2 PARTICIPANT: This particular procedure is
3 an inadequate floor cooling situation.

4 MR. SCOTT: Yes.

5 PARTICIPANT: So you're really out in an
6 extreme --

7 CHAIRMAN WALLIS: Desperate to get some
8 water.

9 PARTICIPANT: You've got to try to do
10 something. You're pulling out all stops to keep from
11 severe core damage.

12 CHAIRMAN WALLIS: So you put in a slug of
13 boron? To make it work?

14 MR. SCOTT: In general, I was not able to
15 find a Westinghouse -- a similar type, don't start the
16 pump procedures. So in some respects --

17 CHAIRMAN WALLIS: Well, the thing is, if
18 they did start the pumps, would it make things better
19 or worse?

20 MR. SCOTT: If they have the unvoided
21 water, or devoiced water, they'll get probably the
22 same answer that we got for B&W.

23 CHAIRMAN WALLIS: Well, where's the boron,
24 then. If it's not in the core, and it's not in the
25 slug, where is it? I'd think it would concentrate in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the core if it's not in the slug. It would shut it
2 down.

3 MR. SCOTT: Remember, in this case in
4 getting this kind of a temperature condition, you're
5 probably going to have a couple of feet, perhaps
6 liquid level, down in the core to start with.

7 CHAIRMAN WALLIS: Yes, that's right.

8 MR. SCOTT: So, you're --

9 CHAIRMAN WALLIS: Pretty rich in boron.

10 MR. ROSENTHAL: That's not this GR.

11 PARTICIPANT: That's correct. That's
12 basically why I raised that point.

13 MR. SCOTT: As Marino said, these are high
14 steam generators. You're saying that there's just a
15 little bit of liquid here that's above us. And any
16 liquid up in here would have run down into the vessel.

17 So it's only what's in this loop seal
18 that's going to be pumped in if they start the pumps.
19 And I don't know the volume of that. No, I guess --

20 CHAIRMAN WALLIS: The impression I'm
21 getting is that you did all the work on the BNW. And
22 you went through the sort of logical arguments, such
23 as limiting cases and so on, made a very convincing
24 case.

25 And then, it was sort of assumed that the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 other cases are so much more benign, we can make some
2 arguments to make sure everything's -- to convince
3 people it's okay. But that -- Because it seems so
4 trivial, you haven't gone through the logic to make a
5 really convincing case.

6 MR. DiMARZO: We can make one.

7 CHAIRMAN WALLIS: So I wonder why you
8 didn't do that, since you knew you were coming up to
9 a formal presentation. It had to be good.

10 CHAIRMAN WALLIS: You're agreeing to a
11 quantitative error?

12 MR. ROSENTHAL: Group think error.

13 CHAIRMAN WALLIS: Group think error. Do you
14 think you're ready? Do you think you're ready to make
15 a case? You will be ready.

16 MR. ROSENTHAL: Well, yes, as we said, we
17 apologize.

18 MR. SCOTT: This slide is almost like the
19 one that Professor DiMarzo showed you, where we're
20 seeing the heat fuel enthalpy, with an estimate for
21 the natural circulation is below the range of data for
22 a cladding failure.

23 But for the restarting of the pump, I'm
24 going to get positive rod damage. But if we restrict
25 pump restart, we don't have to worry about those two.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And again, I think he didn't show this part, but this
2 was sort of the idea we can use to, what we want to
3 call a closed issue.

4 But there are these procedural constraints
5 on restarting the pump. Where I previously verified
6 that I got rid of the undiluted slug, I won't have a
7 problem.

8 But we didn't show you any numbers for
9 these other cases.

10 CHAIRMAN WALLIS: But you don't want to --

11 MR. SCOTT: I don't know. Do I always have
12 to show you all the details?

13 CHAIRMAN WALLIS: No, but you have to make
14 a convincing case.

15 MR. DiMARZO: It's not that difficult. It's
16 very simple. Same logic.

17 DR. POWERS: Well, I just, once again, I
18 think you have another assumption in all your
19 calculations that requires you to say something about
20 the assumed fuel-management scheme.

21 MR. SCOTT: Where the assemblies are, where
22 the control rods are, how much positive or negative
23 rod worths there are.

24 DR. POWERS: I don't know how detailed you
25 have to get. You are probably the better expert than

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I, and put upon it is the assumption that you've
2 looked at one fuel entrance.

3 MR. SCOTT: And if you want to just quickly
4 look at this vent valve. Normally the pressure is high
5 in the downcomer when the pumps are running, therefore
6 these valves are closed.

7 But if you turn the pumps off and you have
8 a low gut, you're boiling steam in the core, now the
9 pressure inside, above the core is higher, and the
10 steam or water can now go out, down the downcomer, and
11 would then sort of get -- This would dilute any high-
12 pressure injection that's coming in.

13 But I don't know what those steam flow
14 rates are. The BNW, if you look at their last version
15 of their report on this, they went into some detail
16 about that.

17 So, you know, if you're really interested
18 I could find those pages for you that would call on
19 that.

20 DR. POWERS: Well, I've got it here,
21 actually. But actually they were looking at it after
22 the levels had come up. As you're boiling in the core
23 and you have a two-phase mixture occur, and that's a
24 type of static balance, the pressure is higher.

25 The core's is a vent valve on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 downcomer side. And you will dilute that --

2 MR. SCOTT: Yes. It would be substantially
3 above the core if I have a lot of water in the core.

4 MR. DiMARZO: But there is another issue.
5 If you don't have this pressure drop, this mixing to
6 the end, at the end of the day --

7 MR. SCOTT: Open or closed?

8 MR. DiMARZO: I think they can, in other
9 words -- so basically, who have the --

10 MR. ROSENTHAL: In terms of us being ready,
11 I think we've done enough technically for going before
12 the Subcommittee. If he points out that we haven't
13 fully made a cogent story, it might be best to go to
14 the full committee in order to give us time to make
15 that cogent presentation.

16 I would propose that we not condemn the
17 subcommittee. Having said that, in my own mind, I
18 think of the way the whole program was approached. At
19 one time we were going to do some fancy, thermo-
20 hydraulic fluid flow type calculations, at a time when
21 people relied on point kinetics, simplified physics
22 models, in the typical system.

23 And the approach that we took was to say,
24 "Wait a minute, can we go do some assisted thermo-
25 hydraulic bounding, and take advantage of this PARCS

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 tool that we've added on."

2 Which allowed us for the first time to do
3 3-D space-time analysis. And when we do that, what we
4 see, when we encounter the physics that for a natural
5 circulation type thing where's there time, it looks
6 like the results are reasonably benign.

7 Of the feedback mechanisms that we knew
8 were there, but then not there. And for the pumped
9 case, the answer's no go. And I think that we can
10 extrapolate that reasonably well with everyone.

11 So now comes the question of what to do.
12 We surely should write a research confirmation letter
13 that summarizes the work we've done. I believe that we
14 will recommend to NRR that they write a RIS, a
15 regulatory information summary.

16 What in years past would have been an IM,
17 now it would be RIS, would go out to our licensees.
18 But it wouldn't be mandatory. You know, it's advising
19 of them of what we've done, what we've had done in
20 terms of procedure.

21 Because the fix here, if anything, is a
22 procedural admonition as distinct from the heart of
23 the plants. We think that at least some of the plant
24 texts already have that in place, and that the event
25 is of sufficiently low frequency, that that's about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what we would do for that type of thing.

2 So I think that our conclusion's okay, and
3 I think we could always tell the story better.

4 CHAIRMAN WALLIS: Well, it's very important
5 to tell a good story.

6 MR. ROSENTHAL: Agreed.

7 CHAIRMAN WALLIS: Especially at a public
8 meeting in front of the full ACRS.

9 MR. SCOTT: By that you're sort of saying
10 that we were going to sort of -- We didn't have to go
11 into much detail, until the hydraulics side if we had
12 this neutronic cancer.

13 And it seems like you guys feel that even
14 if we do that, on the neutronic side and have the
15 answer, that we would still need to dot all the I's
16 and cross all the T's on the thermal hydraulic side.

17 MR. ROSENTHAL: Well, a better story than
18 we've done today. We'll give you --

19 DR. KRESS: I think you're correct in just
20 looking at these volumes and flow rates. And saying,
21 well, the boron curve is going to be more than that.
22 These are the plants.

23 What is missing to me is how that
24 translates into the neutronics for the other plants,
25 particularly if they're maybe different fuel schemes,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 or if the other plants have different feedback
2 mechanisms and different rod worths and so forth.

3 So that's the part that seems to be
4 missing from the argument, to me. How do you
5 extrapolate these results to other plants and other
6 fuel schemes?

7 MR. DiMARZO: Accidents occur, and it's
8 orders of magnitude out there, we can just point out
9 that where the curve comes. On the other hand, the
10 curve comes in any proximity to what we have done,
11 then we need to do that --

12 DR. KRESS: And it's not likely to, looking
13 at those relative volumes you mentioned.

14 MR. DiMARZO: Absolutely.

15 MR. ROSENTHAL: Dave?

16 MR. DIAMOND: Yes, it would seem that the
17 relative volumes preclude having below some of the
18 other vents. As far as the neutronic response, the
19 neutronic response will generally be similar from
20 plant to plant overall.

21 Pressurized water reactors. Obviously,
22 there are some differences.

23 MR. DiMARZO: And if we have one of them
24 which is less severe. And I think we can come out with
25 a political statement. On the other hand, if they are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 compatible, then we have to think a second on what we
2 want. Which is not going to be the case.

3 DR. KRESS: Yes, well, the other part of
4 that is precluding that the natural convection is no
5 problem for me. But what that does for one fuel
6 scheme.

7 MR. DIAMOND: That's correct.

8 DR. KRESS: And yours seems a little bit of
9 a problem, the question there that we would have.

10 MR. DIAMOND: Absolutely. Even within being
11 designed plants, you have different fuel measures and
12 different types of fuels and different types of fuel-
13 management systems.

14 DR. KRESS: It's just sort of a little bit
15 of a problem now, and I think we need a better fix on
16 this.

17 MR. DIAMOND: For example, there are the
18 plants that start off with -- that are having longer
19 cycles and start off with higher boron concentrations
20 that perhaps is a different consideration there,
21 because then the reactivity would be --

22 CHAIRMAN WALLIS: Is the possibility of
23 fuel-management schemes where you need even more boron
24 worth?

25 DR. KRESS: And you know, I still have the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 same concerns that Dana has about the acceptance
2 criteria for high burn-up fuel, in terms of what is a
3 good, acceptable level of allowing the reaction to go
4 to.

5 And that's -- I don't think you guys are
6 going to fix that problem. But you know we still have
7 that --

8 MR. ROSENTHAL: Ralph Myers is in Europe as
9 we speak on those issues. By the way, he did tell me
10 that there was a paintbrush curve and some of you had
11 questions on what was it like even at low burn-up. And
12 he said he found in the heat of the moment, was saying
13 that those were data points from which there was plant
14 cracking, and was marked with a similar fuel plan for
15 present dispersal.

16 CHAIRMAN WALLIS: What do you think Peter?

17 DR. FORD: I'd have to see -- As far as the
18 -- Are we having a presentation at the --

19 CHAIRMAN WALLIS: No, I think there are
20 several issues. The first one is should they make a
21 presentation to the full committee. And the other
22 thing is if they do not, what should they be doing.

23 If indeed they do make a presentation to
24 the full committee, what should they be doing? So
25 first of all --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. FORD: Do they have to make a committee
2 presentation?

3 PARTICIPANT: Well, basically, it's our
4 call, it's our option. It's the subcommittee's option.
5 What do you -- It's on the agenda. You can boil this
6 -- you can beat them up and drag them in there and
7 make a presentation, or you can decide to make a
8 subcommittee chairman make a report, talking about
9 where we are, where we're going with this.

10 And then you'll collapse --

11 CHAIRMAN WALLIS: So with just the first
12 question, are they ready for the full committee?

13 DR. FORD: It struck me that I think
14 they're ready for the -- There's a whole lot of
15 questions still to be answered, but they're not going
16 to be answered even by October, which is when you're
17 talking about.

18 The difficult question of fuel-management,
19 high burn-up fuel. There are some intrinsic problems
20 where I feel that there's not data to calibrate your
21 simplified structural problem. That that stuff can be
22 put off for October.

23 You can counter that by saying you're
24 using a bounding curve. Fair enough. Another one is
25 pure presentation style. In terms of, putting the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 volume, one-half square meters and 40 cubic meters,
2 put that in some rationalization as to why those
3 volumes are important, and compare them one to the
4 other.

5 That's a paperwork exercise, but you still
6 have to do it. So given those criteria I think it's
7 worthwhile having a presentation.

8 DR. KRESS: You raised a question that's
9 interesting, and that is the model is basically a
10 transfer function. Then the question is, that has
11 implicit assumptions in it, and do those assumptions
12 get validated by the appropriate experiments of scale,
13 and will the transfer function's applicability depend
14 on flow rates, the relative flow rates and relative
15 volumes.

16 As to whether or not it's valid or not,
17 and the geometry of mixing volumes, so I think maybe
18 we're dealing with questions we didn't explore enough.

19 CHAIRMAN WALLIS: My concern is not that
20 there should be a presentation to the full committee.
21 I sort of assumed that this would only be made if it
22 were to lead to a letter which said you have done
23 enough work to put this to rest.

24 PARTICIPANT: Yes, that's not the case
25 here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: I don't think you want to
2 go -- I've been assuming that you do not want to go to
3 the full committee and get a letter which says, "These
4 guys have done a lot of work, we see that within what
5 they've done there's enough that they could put it to
6 rest, but they haven't made the proper case."

7 And therefore --

8 DR. FORD: Wouldn't it be useful to them to
9 hear -- they heard our problem.

10 CHAIRMAN WALLIS: I don't think it'd be
11 really useful to hear non-this committee comments.
12 They might be the same. They should go to the full
13 committee when they're ready.

14 With the final product that can be
15 approved.

16 DR. RANSOM: Well, in reading the research
17 plan there's another year on that, which is a
18 substantial amount of effort they're talking about to
19 try to quantify --

20 CHAIRMAN WALLIS: So this will be an
21 interim meeting report? Then it wouldn't be a closing
22 issue? I thought you wanted to close the issue?

23 MR. SCOTT: Well, that's the action plan,
24 item one, which says, do what we've done. Then it
25 says, if you determine that is not a problem, skip

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 two, three, four and five. So we're at the point of
2 skipping two, three, four and five, because we showed
3 it wasn't a problem.

4 But we haven't given you a clear enough
5 evidence, I guess, that it's not a problem. We weren't
6 going to go off and do any experiments. I mean, that
7 was like, maybe, --

8 DR. RANSOM: You're not going to do that?
9 So that's task five? I think it's task five that
10 you're talking about.

11 MR. SCOTT: Okay, we'll do that one.

12 DR. RANSOM: These are the experiments of
13 task five --

14 MR. SCOTT: We don't have those plans.

15 DR. RANSOM: In-Vessel Mixing at University
16 of Maryland. CFD calculations in-vessel.

17 CHAIRMAN WALLIS: I thought I was going to
18 see a document which says we propose, we recommend
19 closing this issue. These are the reasons.

20 PARTICIPANT: That's right.

21 CHAIRMAN WALLIS: That's what I thought I
22 was going to see.

23 PARTICIPANT: Yes, that's what they're
24 planning to do.

25 CHAIRMAN WALLIS: That's what they're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 planning to do? So where is that document?

2 PARTICIPANT: That was what was provided to
3 me earlier.

4 CHAIRMAN WALLIS: But this all seems to be
5 in the mind of DiMarzo, or in forms here or there.

6 DR. KRESS: Well, Jack Leaventhal wrote it.

7 CHAIRMAN WALLIS: But this is what we
8 recommend closing the issue because of these things?

9 MR. SCOTT: We haven't prepared that letter
10 yet, and I think what you're saying is normally on
11 these generic safety issues, we have provided the
12 committee with all that information before we asked
13 the full committee to write a report.

14 So we're sort of not ready to have the
15 full committee write a letter that says.

16 CHAIRMAN WALLIS: What will the full
17 committee tell you that will be helpful, that we can
18 tell you here? Nothing. So we're wasting their time,
19 unless you've got a final product.

20 PARTICIPANT: That's my conclusion.

21 MR. DiMARZO: I mean, we put on the paper
22 enough issues, but.

23 CHAIRMAN WALLIS: So Dana what do you
24 think?

25 DR. POWERS: Well, let me begin my comments

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 by saying anybody that uses that as his reference
2 can't be bad. There are lots of comments the
3 Chairman's already made about refining things and
4 getting a written document.

5 We've got to have a written document. We
6 are surely just not going to write off on a generic
7 issue. We need a written document to study. There are
8 some coherency things that are the limit -- That you
9 get right up to the limit on state of the knowledge on
10 what do we mean by fuel damage?

11 And is cracking of the CLAD tantamount to
12 fuel damage? Things like that. Well, you don't deal
13 with that. Just fuel damage and things like that.
14 There's this business on fuel schema.

15 I think you can handle it. I would
16 seriously consider doing another calculation for a
17 different fuel scheme just to see what the sensitivity
18 is. Because I just don't know that it's very
19 sensitive.

20 It's for the natural circulation case.

21 MR. DiMARZO: Case A, the malfunction.

22 DR. POWERS: Yes, the pump case, you know
23 it's bad for fresh fuel. It will be better for high
24 burn-up fuel. What I would plead, as a personal favor
25 of people doing this.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 You have gone through this exercise. You
2 have used the tools you have imaginatively. I like
3 arguments -- thermal hydraulic arguments that are
4 tractable that I can understand, whatnot, that don't
5 involve the momentum equation, things like that.

6 But it's been a struggle to do this, and
7 I think you're going to have other challenges
8 involving fuel and thermal hydraulics coming down the
9 pipe at you, and especially if you go to more
10 innovative kinds of reactor designs.

11 If you would take an afternoon, and
12 include a slide or a note to the effect of, "If I was
13 not limited by money, what kinds of computational
14 tools would have made doing this job much easier for
15 me, and would be useful in the future."

16 Because for a lot of reasons, I'd like to
17 see this information. One of which, is that you have
18 to write a research report. The other one is, I worry,
19 especially in the neutronics area, that there is a
20 tendency for the people that make monetary decisions
21 on neutronics to say, "Well, this is a pretty well
22 established field. Let's just live with what
23 capabilities we have, and put our resources into these
24 new high-visibility fields like human factors," or
25 something that's equivalent.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I think there's a good lesson to learn
2 here, on the kinds of tools that you need to have
3 available. And I think it would be an assistance to
4 the committee to see what you think you would like to
5 have.

6 And maybe we could have some sway with the
7 Commissioner and say, hey, here's some areas that you
8 really ought to think about funding the research to
9 maintain a high level of capability.

10 In light of the fact that we're going to
11 have unusual thermal-hydraulic and neutronic coupled
12 issues coming down the line in the next few years, if
13 we look at these advanced reactor designs.

14 And maybe we don't worry too much about
15 gas reactors, because they're so far afield from this.
16 But modern, light water reactors, they're going to be
17 weird, strange.

18 And you're going to try to get this square
19 peg in that round hole when really the right answer
20 might be to build you a much more flexible tool.

21 CHAIRMAN WALLIS: I'm surprised that you
22 don't have a tool now. Do you have to go to the de
23 matso type approximate limiting analysis. You can't
24 just put this into some --

25 DR. POWERS: Yes, but you don't understand,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we don't have -- Even if he has done this with
2 computational fluid dynamics, I still would have liked
3 to see what I saw.

4 CHAIRMAN WALLIS: Oh, I like to see that,
5 but the fact that you're reduced to that, it's the
6 only thing he's got to rely on.

7 MR. DiMARZO: See, what is the assessment,
8 and the process and so forth. But we do not have that
9 level of access. Therefore, in principle, we know the
10 process.

11 To take a CFD code and bring it to the
12 same --

13 CHAIRMAN WALLIS: But my suspicion is that
14 these numbers that you're getting in your limited
15 analysis are way above what's realistic.

16 MR. DiMARZO: Absolutely.

17 CHAIRMAN WALLIS: And it would be much
18 better to have some realistic numbers. Because
19 otherwise people think there's a problem when there
20 isn't.

21 MR. DiMARZO: Absolutely. But the problem
22 is the --

23 CHAIRMAN WALLIS: Yes, but the problem with
24 going to the limiting analysis is that you raise the
25 spectre of a problem, when probably there really isn't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 one.

2 MR. ROSENTHAL: Well, actually, I think I
3 would put it the other way and that's that using the
4 more realistic physics tool for saying that where
5 people thought that there was a problem with the risk
6 factor.

7 At least we're able to say, wait a minute,
8 in the natural circ. case with feedbacks we don't
9 think there is a problem, and I don't know if we can,
10 what we can do.

11 But surely there's a conservative approach
12 taken, so that you're beginning to see some of what
13 you spoke about in terms of coupling a modern, 3-D
14 based on kinetics, to a thermal-hydraulic code.

15 When we run track, we will regularly run
16 track with multiple volumes and core regions, which
17 will be an advantage in part, so we can move on that
18 way. We're trying an experimental, now, coupling of a
19 fuel code into the system.

20 And we're building the infrastructure to
21 do that. It's also time we revised the thermal
22 hydraulic research plan, because it's been a number of
23 years, and we intended to come back to you before we
24 took out the chisel, but we need that.

25 And attempt to cut the stone, but we need

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to get something written down --

2 CHAIRMAN WALLIS: It's a five-year plan
3 which is already older than five years.

4 MR. ROSENTHAL: And I'll tell you that I'm
5 challenged by our staff to say, okay, we've been
6 large-break LOCA for a century. And if large-break
7 LOCA went that way, and small-break LOCA got a six-
8 inch LOCA or whatever.

9 A ten inch LOCA which does depressurize
10 remains, then what would in mean in terms of our code
11 development and experimental program. And they've
12 actually started to write how we might go about
13 changing it.

14 But that's sort of another meeting. In
15 terms of this meeting, Dr. Wallis, you're absolutely
16 right, we'd like to go to the ACRS and walk away with
17 a letter and so I don't think we're going to be
18 finished.

19 MR. DiMARZO: Perhaps I have to comment--
20 so it's not that we don't have that thing. The
21 question was, how can we take advantage of the PARCS
22 situation to reduce that scope of --

23 CHAIRMAN WALLIS: Well the PARCS part,
24 though, has been done.

25 DR. RANSOM: Along that line, as a matter

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of fact, you might look into the conditions under
2 which you can restart a pump. Because you have to have
3 some level of MPSH before you're going to start a
4 pump.

5 And if the system is depressurized and
6 partly void, I don't think the guidelines would allow
7 you to start a pump.

8 MR. DiMARZO: But that guideline, that
9 behavior that will restart the pump after you have
10 achieved natural circulation for the certain amount of
11 time, in this particular case it would be one or two.

12 If you can enforce it. It's a bullet-proof
13 recipe for success, because then you fall back into
14 the natural circulation scenario, which we can solve
15 hands down.

16 And we're done, basically.

17 CHAIRMAN WALLIS: Would you like to
18 summarize?

19 DR. KRESS: One more point I wanted to
20 make, that I don't think I made clearly enough, was on
21 DiMarzo's transfer function. Basic assumption is as a
22 differential volume that goes into the big volume
23 immediately gets mixed.

24 Now what things could involve a basic
25 assumption? If somehow the differential volume could

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bypass and not mix, then that may depend on how the
2 flow patterns are, how the geometry is, and I don't
3 know that we discussed that very much, or I don't know
4 how applicable his tests were that showed the curve,
5 how good it did?

6 Or to the full-scale system. And I'd like
7 to see a little more on this.

8 MR. DiMARZO: Something about the LOCA.

9 DR. KRESS: Yes.

10 MR. DiMARZO: If the slug is small, if the
11 vent is small here, that what you are saying is
12 absolutely a possibility. But then if the thing is
13 small.

14 DR. KRESS: It's small. Yes, I knew that,
15 and I think some --

16 MR. DiMARZO: On the other hand it is
17 massive. Then how can it bypass --

18 DR. KRESS: It can't. You're right. So I --
19 but I think we need to hear some words back there.

20 CHAIRMAN WALLIS: Okay, so go back to this
21 assumption that fully mixed and do some more.

22 MR. DiMARZO: We're putting something
23 that's two, three, four times the volume --

24 CHAIRMAN WALLIS: Well, not just that. I
25 mean, if you say it's fully mixed in the lower plenum

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of the steam generator. Your argument is because there
2 are lots of them too.

3 DR. KRESS: Lots of little jets.

4 CHAIRMAN WALLIS: Now is there some way in
5 which those jets could go through without mixing and
6 so on. There's probably some element there and there's
7 probably something you could pull out --

8 MR. DiMARZO: You could go three feet, and
9 you'd have a jet that was probably five or six
10 diameters.

11 CHAIRMAN WALLIS: Vic, do you have some
12 advice for what these guys should do about coming to
13 the committee?

14 DR. RANSOM: Well, I looked over the
15 material and I don't think I've heard anything here
16 that changes my conclusion. One, the entire system
17 must be modeled in order to predict the amount of
18 metric pressures that exist, particularly in the B&W,
19 where the vent valves play a role.

20 And diluting the boron. And also the back-
21 flow, which as you read the system, of course, borated
22 water flows back into the -- the boron enters the
23 steam generator, cold leg and steam generator pump,
24 needs to be considered.

25 And at a minimum, the system calculation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 should be used to provide the boundary conditions on
2 a calculation like the E&L, Purdue and PARCS RELAP
3 five type calculations being made.

4 Which seems one of the most detailed
5 neutronic calculations I guess I've seen, and quite
6 believable. But it's very dependent on the boundary
7 conditions.

8 If the boundary conditions are not right,
9 you're not going to get the right conclusion. I was a
10 little concerned with the Framatome effort, where they
11 played around with the injection point in the pump.

12 I think the condensation could cause a
13 steam bubble there, and something really ought to be
14 looked at that, I guess, to see if that's believable.

15 The other thing, the impression I got that
16 the planned experiment is to result in mixing issues,
17 could be very helpful, provided scaling issues were
18 addressed.

19 And you must use at least a realistic
20 boron distribution to start out with. Or whatever you
21 use as a simulant for the boron, to eventually find
22 out what the transfer function, if you will, going
23 into the core would be.

24 And that goes for the temperature
25 distribution initially too. Because you have very cold

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 water over the steam generator side. You've got hot
2 water in the core, and certainly the density
3 difference between those will govern to a large
4 extent, how much recirculation you get in the vent
5 valves.

6 So it seems like there are a lot of open
7 issues here, and then of course the extension to other
8 types of plants. I would say the same thing applies.
9 You must do a system calculation in general, because
10 of the differences in boiler condenser modes that
11 exist in a U tube type steam generator plant.

12 And I'd -- the first time I guess I heard
13 anything about CFD codes, but I would see no reason
14 why CFD codes could not be used for the single-phase
15 aspect mixing part of the

16 CHAIRMAN WALLIS: It's where they are
17 passed. Single-phase?

18 DR. RANSOM: Yes.

19 CHAIRMAN WALLIS: They don't break on
20 buoyancy --

21 DR. RANSOM: But in the core, of course,
22 it's a different story. And in fact there were other
23 factors too, in the core that the V&L core is a
24 parallel channel, so there's no opportunity for mixing
25 between the two.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And you have high-powered regions of the
2 core and low-powered regions and it's known that you
3 get natural circulation even within the core. Which
4 would again mitigate some of the concentrated
5 deborated water basically.

6 So it seems like there are a lot of open
7 issues to me.

8 CHAIRMAN WALLIS: But don't you think that
9 if they could show with some limiting analysis that
10 there isn't a problem, that you might not have to go
11 into all these issues?

12 DR. RANSOM: Well, from what we've heard
13 today, I think for natural circulation that's true. It
14 may turn out that even with pump flows, if you
15 consider the mixing mechanism, they may not be as much
16 of a problem as you think.

17 CHAIRMAN WALLIS: Which would be very
18 reassuring.

19 DR. RANSOM: And the other thing is you
20 may, if you look into the conditions under which a
21 pump can be restarted, you may find that, indeed, you
22 would not start it until you had refilled it,
23 completed, and there was some level of pressurization
24 in the system, which may mean you are already well
25 into the natural circulation flow.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. KRESS: But the one point that you
2 made. The system where you get dilution running
3 through the vent valve?

4 DR. RANSOM: Right.

5 DR. KRESS: That doesn't seem to be part of
6 the bounding calculation. Isn't it -- That would --

7 DR. RANSOM: Well, the bounding part would
8 be non-recirculation.

9 DR. KRESS: Neglecting that's a non-
10 conservative symptom.

11 DR. RANSOM: Right.

12 DR. KRESS: You think there is some way
13 that , in some way --

14 DR. RANSOM: Well, to me, to assume no
15 recirculation through the vent valve is equivalent to
16 assuming all the vent valves fail to close. And I
17 think the probability of that is extremely low.

18 DR. KRESS: I know, but the question is is
19 there enough dilution -- could you add that into your
20 transfer function --

21 MR. DiMARZO: The point is this. You are
22 activating a pump, which you in this case -- In
23 natural circulation, that's a question.

24 DR. KRESS: That's where I was going.

25 CHAIRMAN WALLIS: -- because of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pressure drop.

2 MR. DiMARZO: So in natural circulation, I
3 don't think that -- So there might be a well, an
4 ingress of circulation. The question is, what is the
5 transfer time of the slug that we're dealing with,
6 with respect to the potential for mixing of that
7 steam.

8 But then another question would be more
9 important. For example, what's the geometry of the old
10 chute doing to this incoming slug? Which is a big
11 factor. In other words, how it connected downwards or
12 sideways or whatnot.

13 So, it's all these things are very
14 important and significant. The question is, do we have
15 again the tools to plan the test. And the tools
16 primarily, are in my opinion, it would have to be
17 something like the CFD.

18 Even the complexity of the --

19 CHAIRMAN WALLIS: But your argument is
20 going to be you don't need to do that much.

21 MR. ROSENTHAL: Are you trying to get the
22 right answer, which would be the ideal world, or are
23 you trying to do --

24 DR. KRESS: I think you might be able to
25 handle this natural convection dilution.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DiMARZO: Yes, but those things were
2 considered. I can take this cup, in other words that
3 would be the point of the first thing I would look, if
4 I need -- If I was beyond the limit, close, and I know
5 I'm very conservative.

6 And I start to have to take some other
7 discount. The first thing I would do is to push back.
8 In other words, the deborated HPI through this slug,
9 and leave somewhat smeared as it goes back up into the
10 steam generator.

11 That's where I would take my discount.
12 Then I would go to what Vic is saying about the
13 internal situation in vessel. That's the same. And
14 then, if I really have to, I will go to the mixing.

15 CHAIRMAN WALLIS: Yes, well, I think you've
16 got to focus on what you're trying to achieve. You're
17 trying to resolve a GSI.

18 MR. DiMARZO: Right. So in my case I won't
19 take any of this.

20 CHAIRMAN WALLIS: My idea is if you did the
21 proper arguments for limiting calculations, and you
22 did it for the other reactor types, and that would
23 probably be perfectly okay to resolve the problem
24 without the pump bump.

25 Now it may well be that you have enough

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 resources that you could show also that the pump bump
2 isn't the problem, but it looks as if you're unable to
3 do that today.

4 And it may be that it's not much of a
5 chance anyway, so maybe you should say, okay, it has
6 to be a procedural solution.

7 MR. DiMARZO: Exactly.

8 CHAIRMAN WALLIS: So I think you've got the
9 story. But I haven't heard Vic say that he wants to
10 write a letter based on your presentation in three
11 days' time.

12 So, it seems to me that we're back to a
13 situation which I don't think is really very good.
14 Where you guys come to us, and we say you're not
15 ready. That shouldn't happen.

16 My feeling is that rather that Jack
17 suggested if you're not going to the full committee
18 this time, you can go to the full committee next time
19 without coming to us again.

20 I think that you ought to come to us
21 again. Because there should not be half-baked, half-
22 cooked, not adequate presentations made before the
23 full committee.

24 MR. DiMARZO: Right.

25 CHAIRMAN WALLIS: Yes, I -- The arguments

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 should be very clearly laid out. You guys have started
2 off doing the work, you don't spend enough time
3 thinking, how do we make our presentation? How do we
4 make a clear argument? How do we make something that
5 a commissioner can read and be convinced by?

6 MR. DiMARZO: Exactly.

7 CHAIRMAN WALLIS: That's what you've got to
8 do. So.

9 MR. SCOTT: What if we have now four other
10 members -- If this were the same committee, but if you
11 guys extrapolate to the other members and suggest a
12 question they might have.

13 What you're saying, you don't want me to
14 go --

15 CHAIRMAN WALLIS: I think there are enough
16 questions that we have, you don't need to hear any
17 more from a non-thermal hydraulic --

18 MR. SCOTT: Well, I might get those
19 questions in some other meeting.

20 DR. POWERS: The issues I would worry about
21 with members that are not here are those on
22 operations. You put up slides, and you had a bunch of
23 emergency operations, and things like that.

24 Three members that are not here have spent
25 a lot of time looking at those. And they're very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 likely to have questions that have not been posed by
2 this panel.

3 Now, you're going to ask me, what are
4 those questions? And I would've asked them if I knew
5 what they were.

6 CHAIRMAN WALLIS: Well, if you like we
7 could perhaps persuade one of those members with
8 operating experience to join this subcommittee next
9 time.

10 PARTICIPANT: I think that would be a very
11 good idea.

12 DR. RANSOM: Well, if they have a report to
13 provide, we can provide the report to them and they
14 can look at it.

15 CHAIRMAN WALLIS: Right, but I think they
16 should be encouraged to invite one of those members.

17 MR. SCOTT: I think it's also clear that
18 nothing's going to happen as a result of doing this,
19 is there? I mean, we can't act, we already know we
20 can't act yet.

21 CHAIRMAN WALLIS: Nothing's going to happen
22 as a result of doing what?

23 MR. SCOTT: -- So that doesn't, no
24 requirements on the --

25 CHAIRMAN WALLIS: No. That's why it would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be good to finish this job. Because it really isn't
2 that big an issue, once it's properly resolved.

3 DR. RANSOM: Well, it seemed like they're
4 not ready if you leave the pump out. So when you bring
5 in the pumps and the other systems, I don't think it's
6 very conclusive, even though hand waving-wise I think
7 we could argue that there's no problem.

8 CHAIRMAN WALLIS: Well I'm pretty nervous
9 about hand-waving presentations.

10 DR. RANSOM: Am I nervous about --

11 CHAIRMAN WALLIS: I am, very much so.

12 DR. RANSOM: And I would be too.

13 CHAIRMAN WALLIS: Dissatisfied with hand-
14 waving.

15 MR. ROSENTHAL: So let's produce a summary
16 report. Get it to you, and get your prerogative on
17 what you --

18 CHAIRMAN WALLIS: Well, I think it's more
19 than that. I think that whoever's a responsible
20 manager has to get the team together and get a proper
21 presentation.

22 MR. ROSENTHAL: Yes sir. And I truly did
23 not mean to waste the subcommittee's time. I thought
24 it was better shared --

25 CHAIRMAN WALLIS: No, you didn't.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DiMARZO: Basically, it's that the
2 story is viable. Whereas, last time the story was so
3 --

4 CHAIRMAN WALLIS: Last time it was just --
5 Say that again, I don't need to say it.

6 DR. POWERS: No I think this was an
7 extremely valuable point. I don't think you wasted
8 our time at all.

9 CHAIRMAN WALLIS: I guess I will make a
10 subcommittee report. A very brief --

11 MR. DiMARZO: For us was very important to
12 determine whether the approach was bad. Because I
13 didn't think it was that sort of a test. Now we have
14 to determine.

15 CHAIRMAN WALLIS: So I don't think we
16 chastised you. Whoever's keeping track of the progress
17 of this GSI may chastise you, for putting it behind,
18 because they have a deadline.

19 MR. DiMARZO: And before on the other one
20 would have been a bad year, so they lose no matter
21 what.

22 DR. POWERS: There's one question on my
23 mind, that you do not need to go to your five-year
24 action.

25 MR. ROSENTHAL: I would hope that we could

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 resolve this before then.

2 MR. DiMARZO: But along with what you said,
3 it was going to have to show the whole picture, and
4 then why, to rationalize why we went that way. That is
5 I think very valid. Because it establishes long-term
6 priorities to acquire this kind of tool and so forth.

7 So this was an opportunity, but
8 unfortunately, depending on which way you want to look
9 at it --

10 CHAIRMAN WALLIS: Are we ready to break?
11 Anyone have anything further to say? What's the right
12 word? I'll adjourn the meeting.

13 (Whereupon, the foregoing matter was
14 concluded at 5:02 p.m.)

15

16

17

18

19

20

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701