

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
Thermal-Hydraulic Phenomena & Reliability
and Probabilistic Risk Assessment
Joint Subcommittees Meeting

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Tuesday, November 5, 2002

Work Order No.: NRC-621

Pages 1-167

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION
+ + + + +
JOINT MEETING
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
(ACRS)
SUBCOMMITTEE ON THERMAL-HYDRAULIC PHENOMENA
AND
SUBCOMMITTEE ON RELIABILITY AND PROBABILISTIC RISK
ASSESSMENT
+ + + + +
TUESDAY,
NOVEMBER 5, 2002
+ + + + +
ROCKVILLE, MARYLAND
+ + + + +

The Subcommittees met at the Nuclear Regulatory Commission, Two White Flint North, Room T2B3, 11545 Rockville Pike, at 1:30 p.m., Dr. Thomas S. Kress, Acting Chairman, presiding.

COMMITTEE MEMBERS:

THOMAS S. KRESS, Acting Chairman
F. PETER FORD, Member
GRAHAM B. WALLIS, Member

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ACRS STAFF PRESENT:

MAGGALEAN W. WESTON, Staff Engineer

ALSO PRESENT:

JACK ROSENTHAL

CHARLES ADER

SIDNEY FELD

CHRIS GRIMES

JOHN LEHNER

JAMES MEYER

ALLEN NOTAFRANCESCO

JACK TILLS

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

C O N T E N T S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19

PAGE

Introductory Remarks:

T.S. Kress 4

Jack Rosenthal 6

NRC Staff Presentation:

Introduction and Overview, Allen

Notafrancesco 8

Benefits Analysis, John Lehner 13

Cost Analysis, James Meyer 63

Ice Condenser Combustion Issue, Allen

Notafrancesco 94

MELCOR Analysis, Jack Tills 96

Summary and Recommendations 137

Committee Comments and Discussion 144

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

(1:33 p.m.)

ACTING CHAIRMAN KRESS: The meeting will now please come to order.

This is a meeting of the ACRS Subcommittees on Thermal Hydraulic Phenomena and the Subcommittee on Reliability and Probabilistic Risk Assessment.

I'm Tom Kress. I'm serving as the Chairman of today's meeting mostly because the Thermal Hydraulic Phenomena Subcommittee is normally chaired by Graham Wallis here with me, but this appears to be more of a severe accident issue. So I guess that's one reason I'm doing it.

And the Chairman of the Reliability and PRA Subcommittee is George Apostolakis, and he couldn't be with us today.

The members that are here in attendance are Graham Wallis, as I said, and Peter Ford is expected to join us a little later. His plane was a little late in getting here.

The purpose of this meeting is to discuss the Office of Research's proposed recommendation for resolving GSI 189, which is the susceptibility of ice condenser and Mark III containments to early failure

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 from hydrogen combustion during a severe accident.

2 Maggalean W. Weston is the cognizant ACRS
3 staff engineer at the meeting.

4 The rules for participation in today's
5 meeting have been announced as part of the notice of
6 this meeting, published in the Federal Register on
7 October 28th, 2002. A transcript of the meeting is
8 being kept and will be made available as stated in the
9 Federal Register notice.

10 It is requested that speakers use one of
11 the microphones available and first identify
12 themselves and then speak up so everybody can hear
13 you.

14 We have received no written comments from
15 members of the public regarding today's meetings.

16 By way of reminding the member that's
17 here, we had a meeting review of this issue back I
18 think it was in June 2002, and in that meeting we
19 suggested to Research that it would be helpful if they
20 had some additional considerations of uncertainties.

21 So the staff went back and did some
22 reevaluation and determined some uncertainties, and
23 today they're going to tell us about the results of
24 the look and how that factors into their
25 recommendations.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So with that I'll proceed with the meeting
2 and ask Jack Rosenthal if he wants to introduce it.

3 MR. ROSENTHAL: Thank you.

4 I just have a few introductory remarks.

5 My name is Jack Rosenthal, and I'm the
6 Branch Chief of the Safety Margins and Systems
7 Analysis Branch in the Office of Research.

8 We received the ACRS' letter of June 17
9 where you recommended that we do additional analyses
10 and pay particular attention to uncertainty analysis,
11 and that's exactly what we've done. We went back and
12 revisited the cost side of the equation, but we also
13 looked at the benefits side, tried to do a combination
14 of uncertainty and sensitivity studies on the
15 benefits; did a fair amount of sensitivity studies to
16 hydrogen phenomenology, which we'll be hearing about;
17 and did a fair amount of our homework.

18 Based on that, we did send you reports and
19 a cover letter which indicated that we thought it
20 appropriate to move forward on ice condensers, and
21 that we thought that the igniters alone would be
22 efficacious. You'll hear more about that later.

23 And we were not as clear on Mark IIIs.
24 The Mark III cost-benefit story is not in itself
25 persuasive, and so what we would like to do at the end

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of the meeting after we've laid out all of the
2 technical information is to discuss other
3 considerations and ask for your advice on how we
4 should treat uncertainties in the decision process.

5 My last point is that, in fact, these
6 plants are safe, and that this is not in my mind an
7 adequate safety issue, but rather one of a cost
8 beneficial safety enhancement, and that's how we're
9 reviewing it.

10 With that, I'd like to turn it over to
11 Allen Notafrancesco.

12 MEMBER WALLIS: Just before we start, I
13 remember the last meeting we had, and we did ask for
14 uncertainty analysis, but I think there was also on
15 the part of several of my colleagues who had
16 experience with real power plants some skepticism
17 about portable generators sort of wheeled into place
18 when needed.

19 MR. ROSENTHAL: Yes, you'll hear a
20 specific presentation --

21 MEMBER WALLIS: Well, are we going to hear
22 about that?

23 MR. ROSENTHAL: -- from Jim Meyer.

24 MEMBER WALLIS: Because reading the
25 report, it wasn't clear to me whether you were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 recommending portable or in place, or there didn't
2 seem to be a clear distinction somehow. Maybe that
3 will come clear --

4 MR. MEYER: We'll talk about that later.

5 MEMBER WALLIS: -- when you make your
6 presentation. Yes, thank you.

7 MR. NOTAFRANCESCO: I'm Al Notafrancesco,
8 the task manager for GSI 198.

9 This is the agenda. The one provided a
10 few weeks ago, we made a change. In this version, the
11 MELCOR analysis will go before the ice condenser
12 combustion issue.

13 THE REPORTER: Excuse me, sir. It's a
14 little hard to hear you. Would you mind wearing a
15 lap. mic?

16 MR. NOTAFRANCESCO: I can do this.

17 ACTING CHAIRMAN KRESS: It would probably
18 help to use that mic anyway, I think. People tend to
19 turn their head, and it gets terrible.

20 Pin it up close to your throat, and it
21 comes in better.

22 MR. NOTAFRANCESCO: Is this better?

23 THE REPORTER: Yes.

24 MR. NOTAFRANCESCO: Okay. What I'm going
25 to present right now is just a quick overview. We've

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 covered a few of the aspects already, and where we
2 were, why we're here.

3 And, again, it is a team effort in trying
4 to do the technical assessment of this generic issue.
5 The various components, benefits analysis to cost
6 analysis; the plant analysis using MELCOR; and some
7 hydrogen combustion issues.

8 And at the end of the day, we're going to
9 summarize it and present our recommendations.

10 Again, the focus of this generic issue is
11 looking at susceptibility for Mark IIIs and ice
12 condenser containments, early failure due to
13 combustion, in particular, for SBO events. This issue
14 was raised and was borne out from the risk informed
15 10/50.44 rulemaking on hydrogen control.

16 As I said earlier, we met with the ACRS
17 June 6th, got a letter June 19th; go back, quantify
18 uncertainties and come back again. And that's why
19 we're here. We have a completed, refined technical
20 assessment that's on the table now, and we're going to
21 present that.

22 And, again, our plans are to try to submit
23 the technical assessment package to NRR by the end of
24 the year.

25 Again, just a little bit more background.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The domestic plants that are affected by our analysis,
2 Mark IIIs and ice condensers. There's nine ice
3 condenser plants. There's four Mark III plants.

4 The common attributes of these plants is
5 low design pressure, relatively low or free volume,
6 and also the key issue that's related to both of
7 these plant, they have igniter systems, they were
8 retrofitted post TMI, and they're hooked up to the
9 off-site power and the diesel generators. So the
10 issue is a SBO sequences in which --

11 MEMBER WALLIS: Now, these PWRs, I notice
12 there are four joule units, and in your paper there
13 was a discussion of an accident and a containment
14 breach in one affecting the viability of the other
15 plant and whether or not it would be shut down for a
16 long period of time, but that didn't seem to have been
17 taken into account. It was discussed, but then it
18 wasn't taken into account in your costs.

19 MR. LEHNER: I think we had discussion --
20 I'm sorry. I'm John Lehner from Brookhaven National
21 Laboratory -- I think we had a discussion of the
22 benefit side, but the averted costs that talked about
23 that, and I can address that in a minute --

24 MEMBER WALLIS: Well, it disappeared. It
25 didn't seem to be part of your final --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LEHNER: Right. It was not part of
2 the numerical calculation.

3 MEMBER WALLIS: In fact, it would be a
4 benefit, would it not?

5 MR. LEHNER: I'm sorry?

6 MEMBER WALLIS: It would be a benefit. I
7 mean if you're lose a containment and you irradiate
8 the whole site, then you essentially use the other --

9 MR. LEHNER: Yes, but -- but --

10 MEMBER WALLIS: -- for quite a period of
11 time, quite a long time.

12 MR. LEHNER: I guess there were two
13 things, well, a number of things why we didn't
14 actually include it in the numerical calculations.
15 One is that if you lose the containment late, and
16 remember we're talking here about early failures; so
17 if you lose the containment late, you're likely to
18 have the same problem.

19 So in that sense, the benefit would not be
20 -- the benefit would only really be there for dual
21 units if could avoid late failure as well.

22 MEMBER WALLIS: If you didn't lose it at
23 all.

24 MR. LEHNER: Well, at all. Exactly,
25 exactly.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And the scenarios are very uncertain. I
2 mean, it depends on, you know, when the second unit
3 could be brought back. There are just so many
4 uncertainties there that --

5 ACTING CHAIRMAN KRESS: I guess the
6 assessment is that if you have a station blackout,
7 you're going to have a late containment failure.

8 MR. LEHNER: Yes. I mean, the igniters,
9 as Allen pointed out, they're really there to avoid
10 the early failure.

11 ACTING CHAIRMAN KRESS: Let me ask you
12 about this, one of you, about the station blackout.
13 Is the assumption in the sequence that the emergency
14 diesels actually fail to start? Is that why it's a
15 station blackout? When you lose off-site power --

16 MR. LEHNER: Yes.

17 ACTING CHAIRMAN KRESS: -- and then the --
18 so the probability of a diesel failing, the emergency
19 diesels failing to start and pick up the load is part
20 of the station blackout?

21 MR. LEHNER: That's correct, yes.

22 ACTING CHAIRMAN KRESS: It's one reason it
23 has such a low --

24 MR. LEHNER: Probability, yes.

25 MR. NOTAFRANCESCO: Okay. My last slide

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 here basically, again, reiterates the objective:
2 looking at early containment failure, SBO due to
3 hydrogen combustion for SBO events. We're doing a
4 cost-benefit looking at different possible
5 enhancements to make sure the combustible gas control
6 system is working early on, looking at the cost-
7 benefits.

8 In sizing out the benefits part, we're
9 using existing risk studies, 1150, IPEs, and other
10 issues, other risk studies which we'll get into, and
11 we'll go on.

12 The next guy up is benefits analysis with
13 John Lehner.

14 MR. LEHNER: I'm John Lehner from
15 Brookhaven National Laboratory.

16 And we assisted the staff in doing the
17 benefit analysis for Generic Issue 189, and my
18 objective today is to talk to you about that benefit
19 analysis.

20 So in the benefit analysis, we did not
21 look at the means by which you would achieve
22 combustible gas control. We're just looking at the
23 averted costs that are there if you can achieve
24 combustible gas control during the station blackout
25 sequences.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And of course, the other part of the
2 objective is to address the comments that we heard in
3 June about getting more information about the
4 uncertainties involved in these estimates.

5 So we carry out the benefit analysis in
6 accordance with the regulatory analysis guidelines and
7 the technical evaluation handbook, and the benefits
8 here consist of the averted risk, which includes the
9 reductions in public and on-site radiation exposure,
10 as well as the averted off-site property damage.

11 And as Professor Wallis pointed out, we
12 discuss in the report about the on-site property cost,
13 but we did not actually include that in the monetary
14 benefits.

15 ACTING CHAIRMAN KRESS: It might be of
16 interest to note that ACRS reviewed those documents at
17 one time and decided that they were very appropriate
18 and well done and good guidelines. So if you followed
19 those, why, you did it right.

20 MR. LEHNER: So as I said, the benefits
21 here are in terms of the averted risk as to risk
22 reduction due to the enhancement, and since we're
23 talking here about the enhancements being combustible
24 gas control during station blackout sequences, one can
25 really break down the risk reduction to using the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 station blackout core damage frequency times the
2 change in conditional containment failure probability,
3 conditional on-station blackout that the enhancement
4 brings about.

5 I mean, that's what the enhancement does.
6 It will change the conditional containment failure
7 probability.

8 ACTING CHAIRMAN KRESS: Now, the station
9 back-up frequency you have there, that includes
10 getting at this core damage frequency?

11 MR. LEHNER: I'm sorry. It includes?

12 ACTING CHAIRMAN KRESS: It includes core
13 damage.

14 MR. LEHNER: This is a core damage
15 frequency. It's not the initiating event frequency
16 but the actual core damage frequency.

17 ACTING CHAIRMAN KRESS: It's the station
18 blackout core damage.

19 MR. LEHNER: Yes. The contribution to
20 core damage --

21 ACTING CHAIRMAN KRESS: It's not the
22 initial --

23 MR. LEHNER: -- from station blackout
24 sequences.

25 ACTING CHAIRMAN KRESS: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LEHNER: That's correct.

2 And then, of course, you have to include
3 the consequences from an early failure, and the
4 consequences consist of exposure of the population,
5 persons and the surrounding property damage.

6 ACTING CHAIRMAN KRESS: Those come out of
7 max?

8 MR. LEHNER: Those come from a Level 3
9 analysis, which is max in the NRC space.

10 So since we need a Level 3 PRA to get the
11 consequences, well, we need a Level 3 PRA because we
12 need consequences in terms of person-rem and off-site
13 costs. We used previously existing studies to put the
14 story together on the benefits gained here. We did
15 not conduct a new Level 3 PRA simply to look at this
16 issue.

17 Now, if you look at the Level 3 analyses
18 that are out there, the NUREG 1150 studies, they are
19 the most comprehensive studies, and we used those to
20 get the details of the accident progression, which of
21 course is important here since we're talking about
22 changes in containment failure probability, and we
23 used the numbers from 1150 to obtain a base case
24 benefit estimate.

25 And we also used the information from 1150

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on timing of sequences and so forth, which becomes
2 important in the cost analysis that you'll hear Jim
3 Meyer talk about later on.

4 MEMBER WALLIS: This accident progression
5 includes the effectiveness of evacuation?

6 MR. LEHNER: That's taken into account in
7 the max calculation for the consequences. There are
8 certain assumptions that go into that and basically,
9 well, you'll see later on in the different studies we
10 looked at for the uncertainty, that you get some
11 different results depending on the assumptions you
12 make for the consequences.

13 ACTING CHAIRMAN KRESS: Well, since this
14 is dealing with early containment failure, assumptions
15 for evacuation there are that they don't have time to
16 evacuate?

17 MR. LEHNER: No. I mean, early
18 containment failure doesn't necessarily mean -- you
19 know, it's early in terms of vessel breach. So it
20 doesn't necessarily mean early in terms of the start
21 of the accident.

22 ACTING CHAIRMAN KRESS: It doesn't
23 necessarily mean the same thing as large early release
24 frequency.

25 MR. LEHNER: Well, no, it is the part of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the large early release frequency. I mean, the early
2 containment failure leads to a large early release
3 frequency, but it's not early in terms of starting of
4 the accident. There could be some evacuation that's
5 taking place, depending on the accident sequence.

6 I mean, for instance, we're including here
7 what's called fast station blackout and slow station
8 blackout, and the difference there would be the
9 availability of the turbine driven aux feedwater in
10 the PWRs anyway, in the ice condensers.

11 So if you have a fast station blackout,
12 then you can go to core damage in a number of hours,
13 two, three hours, whereas slow station blackout might
14 take eight or 12 hours to actually get the core down.

15 Now, we also wanted to look at the
16 uncertainties, and there's uncertainties in each part
17 of the analysis. There's uncertainties in estimating
18 the station blackout frequency. There's uncertainty
19 in estimating the conditional probability of early
20 containment failure, given station blackout, and then
21 there's uncertainty in the consequences that result
22 from the release from the accident.

23 ACTING CHAIRMAN KRESS: Did you do any
24 consequence uncertainty?

25 MR. LEHNER: We compared some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sensitivities, but as I discuss later on, we got the
2 cooperation from Duke Power. They gave us some
3 results of their recent PRAs for McGuire and Catawba,
4 and they had some consequence numbers that were done
5 with their sets of assumptions and the map code, and
6 that, of course, is a somewhat different sensitivity
7 analysis than if you look at the NUREG 1150 source
8 term code package.

9 ACTING CHAIRMAN KRESS: I thought those
10 Duke results only dealt with different assumptions in
11 the accident sequence itself and basically used the
12 same source term.

13 MR. LEHNER: No, the source terms were
14 different. We only saw parts of the results, but the
15 release fractions were quite a bit different from the
16 release fractions that --

17 ACTING CHAIRMAN KRESS: But once you had
18 a release fraction, then they just had point values
19 for the consequences, the amount of that?

20 MR. LEHNER: Well, I believe they used max
21 to calculate the consequences once they had the
22 release fractions, yes.

23 ACTING CHAIRMAN KRESS: That would be a
24 point value to make it.

25 MR. LEHNER: Yes, yes. I believe that's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 right.

2 So to look at the uncertainties in these
3 various parts of the analysis, we looked at a number
4 of studies where we could get some uncertainty and
5 sensitivity information from. Again, we looked at
6 NUREG 1150 because that had a quite comprehensive
7 uncertainty analysis that looked at Level 1 and Level
8 2 uncertainties, and so we looked there for station
9 blackout frequency uncertainty, for containment
10 failure uncertainty, and as I just said, I should have
11 consequences here as well because we compared the
12 consequences there with the consequences from the
13 industries that result in the last line.

14 The industry results refer to the Duke
15 PRAs for Catawba and McGuire, where they also had an
16 uncertainty on the station blackout frequency. They
17 had an estimate of containment failure probability,
18 and they had the consequences.

19 We also looked at the IPE station blackout
20 frequencies, and finally we looked at station blackout
21 frequencies from the NRC SPAR models.

22 ACTING CHAIRMAN KRESS: Now, let me ask
23 you about the consequences once again. If the
24 industry results were for Catawba and McGuire and the
25 NUREG 1150 had neither of those plants in it --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LEHNER: No, NUREG 1150 is Sequoyah.

2 ACTING CHAIRMAN KRESS: Sequoyah?

3 MR. LEHNER: Right.

4 ACTING CHAIRMAN KRESS: How does one get
5 a consequence uncertainty out of comparing those?

6 MR. LEHNER: Well, we didn't get an
7 uncertainty. We just -- those are really
8 sensitivities, and I --

9 ACTING CHAIRMAN KRESS: How do you even
10 get a sensitivity out of it?

11 MR. LEHNER: Well, one thing we did was we
12 grafted the Sequoyah consequences onto the Catawba
13 Level 1 and Level 2 results to compare that with the
14 results that were in the Duke information.

15 ACTING CHAIRMAN KRESS: Let me ask you.
16 The SPAR models were also used to get station blackout
17 frequencies.

18 MR. LEHNER: Yes, it turned out we really
19 didn't use those in the --

20 ACTING CHAIRMAN KRESS: Did those enter
21 into the uncertainties or anything anywhere?

22 MR. LEHNER: Well, it seemed the range of
23 station blackout frequencies were really covered by
24 the other --

25 ACTING CHAIRMAN KRESS: Okay. So because

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the SPAR models may not be as representative as they'd
2 like --

3 MR. LEHNER: Well, it turns out that the
4 SPAR models that include the information that we're
5 looking at were the three I models, which have been
6 QAed yet.

7 ACTING CHAIRMAN KRESS: Okay.

8 MR. LEHNER: So the reason I mention it
9 here is because later on when we talk about the Mark
10 IIIs, there there was no comparable recent industry
11 information available, and therefore, we actually
12 looked at the spar models to get some sensitivity
13 results.

14 But for the ice condensers we did not
15 consider the -- or we looked at it, but we did not
16 include the SPAR model results in the analysis.

17 Now, the assumptions that we made was we
18 said that the combustible gas control system is 100
19 percent effective because, as I said, we're not
20 concerned here with the means of achieving combustible
21 gas control. You know, the benefits would scale
22 directly with the effectiveness of the system. So we
23 had to make various assumptions because it's 100
24 percent effective.

25 We assumed that gas combustion was the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 principle cause of early containment failure in
2 station blackout sequences. It's a pretty good
3 assumption if you look at the --

4 ACTING CHAIRMAN KRESS: I think that's a
5 pretty good assumption.

6 MR. LEHNER: And then we also said that
7 we're not assuming that late containment failures were
8 also averted by gas control, but only the early
9 containment failures.

10 Of course, you could argue that at some
11 point if you avoid the early failure, then you can get
12 the off-site power back and you will avoid late
13 failure as well, but we didn't include that in our
14 analysis.

15 We did a sensitivity case, but it's not
16 included in the figures I'm showing here.

17 So continuing with the assumptions, this
18 is in line with the guidelines in the regulatory
19 analysis that I had mentioned earlier. We looked at
20 public health and radiation exposure and the off-site
21 property damage over a 50 mile radius from the plant.

22 We used \$2,000 per person-rem to convert
23 the exposure to a dollar value. We then a present
24 worth calculation, and that present --

25 MEMBER WALLIS: But that 2,000 has been

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 around for some time?

2 MR. LEHNER: Yes.

3 MEMBER WALLIS: How long has it been
4 around?

5 ACTING CHAIRMAN KRESS: It used to be
6 1,000 until the ACRS complained, and then it went to
7 two.

8 MEMBER WALLIS: All right. Well, --

9 MR. LEHNER: In the '80s some time I
10 think.

11 MEMBER WALLIS: So shouldn't it be up by
12 now to something bigger?

13 ACTING CHAIRMAN KRESS: They look at it
14 occasionally for reevaluation. It may be time.

15 MR. ROSENTHAL: Sid Feld, the author,
16 advises me that was 1995?

17 MR. FELD: Yes.

18 MR. LEHNER: Oh, '95?

19 MR. FELD: And the position that we took
20 was it's one significant digit. So that it would
21 require quite a movement in the inflation rate before
22 we would adjust it.

23 ACTING CHAIRMAN KRESS: Let me ask you
24 about the present worth, maybe you or somebody. You
25 assume 40 years of plant life remaining, and I presume

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that includes the license extension.

2 MR. LEHNER: Yes, it does.

3 ACTING CHAIRMAN KRESS: And to get present
4 worth since this is a probabilistic event, you take
5 the amount of time left and divide it by two?

6 MR. ROSENTHAL: Jim, you have those --

7 ACTING CHAIRMAN KRESS: Per the event?
8 When do you decide the event occurs back.

9 You know, this is not really germane to
10 the discussion, but I'm curious.

11 MR. ROSENTHAL: We integrate the risk over
12 the entire remaining life. So effectively what we're
13 doing is we're considering the probability of an
14 accident occurring in a given day, and we --

15 ACTING CHAIRMAN KRESS: Is that the
16 equivalent of using the amount of remaining time
17 divided by two or back in that?

18 MR. FELD: I'm not sure if that would be
19 equivalent, but the calculation actually involves
20 looking at the risk in each year, and it's a present
21 worth calculation for occurring in that year, and then
22 doing that for each remaining year.

23 ACTING CHAIRMAN KRESS: Okay, and just
24 adding that.

25 MR. FELD: And you're looking at the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 probability per reactor year. So that when you
2 calculate the sum of those things, you're integrating
3 an OP life.

4 ACTING CHAIRMAN KRESS: Okay. It sounds
5 like it's a reasonable way to do it.

6 MR. ROSENTHAL: Excuse me, Jim. You have
7 the numbers for 20 and 40 years.

8 MR. MEYER: For 40 years the multiplier is
9 about 13, and for 20 years the multiple is about 10.7.

10 MR. LEHNER: That's with a seven percent
11 discount.

12 MR. MEYER: With a seven percent discount
13 and start with a three percent discount. So we did
14 our calculation with a seven percent rate and then did
15 a sensitivity with a three percent.

16 ACTING CHAIRMAN KRESS: And that's called
17 for actually in the --

18 MR. LEHNER: In the handbook, yeah.

19 Okay. Moving then to the ice condenser
20 analysis, this just shows the 1150 ranges, giving an
21 idea of the uncertainty ranges. The first row is the
22 percentile values for the station blackout core damage
23 frequency, showing the mean value as well as the fifth
24 and the 95th percentile, and the second row is the
25 same information for the conditional probability of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 early failure given station blackout.

2 MEMBER WALLIS: Why does that vary so
3 much, that CPEF? Such a huge range.

4 MR. LEHNER: Well, really if you look at
5 the distribution in 1150, it's the tail that's very,
6 very low.

7 ACTING CHAIRMAN KRESS: That's why the
8 mean is way up there.

9 MR. LEHNER: Yes. As a matter of fact --

10 MEMBER WALLIS: Isn't it just physics?

11 ACTING CHAIRMAN KRESS: Oh, no. This was
12 expert opinion.

13 MEMBER WALLIS: Oh, it's expert opinion.

14 MR. LEHNER: There's a lot of experts. As
15 a matter of fact, I have this. This is not in the
16 handout.

17 MEMBER WALLIS: Well, why is it that they
18 claim to be experts if they vary in opinion so widely?

19 (Laughter.)

20 MR. LEHNER: This first column here is the
21 conditional probability of early containment failure.
22 This is loss of off-site power, but it's essentially
23 station blackout, and you can see that here's the mean
24 and the 95th way down here.

25 MEMBER WALLIS: It's a big, big --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ACTING CHAIRMAN KRESS: A big range.

2 MEMBER WALLIS: Yeah, huge range. There's
3 a huge maximum at the top there.

4 MR. LEHNER: Yes.

5 ACTING CHAIRMAN KRESS: That will drive
6 the mean.

7 MEMBER WALLIS: It drives everything.

8 MR. LEHNER: Yeah.

9 MEMBER WALLIS: That's all expert opinion,
10 all of that range?

11 ACTING CHAIRMAN KRESS: Yes. Expert
12 opinion guided by some calculations that were done,
13 but just the guidance was just to reveal the type of
14 phenomenon that was involved so the experts could look
15 at them and make their own decision.

16 MEMBER WALLIS: Did people make
17 calculations then?

18 ACTING CHAIRMAN KRESS: Some of the
19 experts did, and some of them just did this. It
20 depends on the expert.

21 MR. LEHNER: There was at least one expert
22 that gave it a very, very low probability of failing.

23 ACTING CHAIRMAN KRESS: There was a
24 mixture of experts from industry and labs and
25 academia.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: If we had computer codes
2 that varied as much as this, we'd despair.

3 MR. ROSENTHAL: Let me point out -- and
4 we'll ask for your input on this. At one time we were
5 considering taking the fifth percentile off the
6 charts, and that was because we thought that as a
7 regulatory agency we ought to be dealing with the mean
8 and the 95th in effectively a one-side decision.

9 We decided to leave the information on the
10 slides to present it to you in order to portray as
11 full a picture of our understanding as we could, but
12 if you have some thoughts on that, we would appreciate
13 it.

14 ACTING CHAIRMAN KRESS: Well, let me
15 express one right now. I think a one-sided look at
16 the distribution is probably appropriate, but I would
17 look at the other side instead of the high side, and
18 I'll tell you why.

19 This is an enhancement. It goes beyond
20 adequate protection, and under those circumstances I'd
21 want to be very sure that my benefits were expressed
22 appropriately because I'm imposing added burden in
23 this case, and I'm not in a case where I'm trying to
24 assure safety.

25 So under those kind of services, I would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be on the lower side of the benefit end, and on the
2 costs, the costs I would probably just use a mean or
3 flip it the other way, one or the other. So, you
4 know, there's one opinion that's normally contrary to
5 what you might expect to come out of it, but it's only
6 because of the safety enhancement.

7 MR. LEHNER: So this gives you an idea of
8 the range in the 1150 analysis.

9 This next slide shows the range and the
10 results we received for Duke Power for their two
11 plants, and let me explain a little bit what this is.

12 For Catawba --

13 ACTING CHAIRMAN KRESS: Now, the 1150
14 includes thinking of external events.

15 MR. LEHNER: No.

16 ACTING CHAIRMAN KRESS: It doesn't?

17 MR. LEHNER: It does not. So far we --

18 ACTING CHAIRMAN KRESS: It's all internal.

19 MR. LEHNER: It's all internal. There
20 were two 1150 plants. I believe it was Peach Bottom
21 and Surry that they did external events for, but not
22 Sequoyah or Grand Gulf.

23 Now, the results from Duke shown here
24 show, again, fifth mean and 95th, but they also
25 included a point estimate, and they had a point

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 estimate for external events in some cases, and those
2 external events were mainly, I believe, seismic and
3 tornadoes.

4 ACTING CHAIRMAN KRESS: And let me ask you
5 about this fifth mean and 95th. When I see those, I'm
6 visualizing that they had to have a full distribution.
7 I'm not sure that was the case because I've never seen
8 any of these results from Duke, or was this merely a
9 sensitivity where they estimated the fifth and 95th?

10 MR. LEHNER: Well, the results that we
11 received from them only included the fifth mean and
12 95th, but my impression is that they had a full
13 distribution, but maybe there's somebody here from
14 Duke Power that could --

15 ACTING CHAIRMAN KRESS: Would that not
16 help?

17 MR. BARRETT: Yes. My name is Mike
18 Barrett from Duke.

19 We do assign probably distributions to the
20 basic events in the core damage frequency calculation.
21 So the distribution, the results you see there are
22 from a distribution, not just from a sensitivity
23 study.

24 ACTING CHAIRMAN KRESS: Thank you.

25 MEMBER WALLIS: So they look roughly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 consistent with 1150, at least the first line.

2 MR. LEHNER: Yes. I mean, the Catawba
3 station blackout frequencies are in what I believe is
4 the current configuration. The next line then was a
5 new RCP seal, which brings the frequency down
6 somewhat.

7 ACTING CHAIRMAN KRESS: And what's the
8 ranges in the conditional probability? Are those five
9 to 95 or --

10 MR. LEHNER: I'm talking the conditional
11 probability of containment --

12 ACTING CHAIRMAN KRESS: Your first line,
13 on your first line there.

14 MEMBER WALLIS: It's on the left.

15 MR. LEHNER: On the left? No, those are
16 -- sorry. Yeah, I should explain that. Those ranges
17 are really ranges depending on the plant damage state
18 that's being talked about. Those are not uncertainty
19 ranges.

20 ACTING CHAIRMAN KRESS: Okay.

21 MR. LEHNER: Those are ranges, early
22 containment failure associated with particular plant
23 damages. I mean, in actuality, the station blackout
24 isn't the one sequence. It's a number of sequences,
25 and they bend into slightly different plant damage.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: So they don't have the ten
2 to the minus four in the CPEF.

3 MR. LEHNER: Right. Well, I don't think
4 that Duke did an uncertainty evaluation of the
5 conditional containment failure probability. It was
6 a point estimate, but it varied depending on the plant
7 damage state that you were in.

8 So, yes, the word "range" here shouldn't
9 -- it's probably a little confusing with uncertainty
10 ranges. It's not meant to imply uncertainty range.

11 ACTING CHAIRMAN KRESS: Those are fairly
12 consistent with the --

13 MR. LEHNER: Well, it's not that different
14 from the .15 mean value of 1150.

15 MEMBER WALLIS: Eleven, fifty was based on
16 another plant, but similar plant.

17 MR. LEHNER: Sequoyah, another ice
18 condenser, and the ice condensers are actually quite
19 similar in their features. I mean, there's very
20 little variation among the ice condenser plants.

21 ACTING CHAIRMAN KRESS: So actually if you
22 looked at McGuire, it's quite an improvement in the
23 core damage frequency.

24 MR. LEHNER: Yes. Well, if you look at
25 the --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ACTING CHAIRMAN KRESS: And have those
2 same fixes been done to Catawba also?

3 MR. LEHNER: Well, if you look at those
4 three lines for Catawba, the first one is --

5 ACTING CHAIRMAN KRESS: Oh, yeah.

6 MR. LEHNER: The third one is also quite
7 low because it turns out in Catawba most of the
8 station blackout comes from flooding, and so once they
9 put in the flood wall, the frequency gets to be quite
10 low.

11 ACTING CHAIRMAN KRESS: And then it's
12 about the same as the Catawba.

13 MR. LEHNER: As McGuire, yeah. That
14 frequency --

15 ACTING CHAIRMAN KRESS: Right.

16 MR. LEHNER: -- and the McGuire frequency
17 are quite a bit lower than the 1150 frequency.

18 MEMBER WALLIS: Has the RPC seal been
19 replaced? This is a new kind of seal, isn't it?

20 MR. LEHNER: It has been replaced; is that
21 right?

22 MEMBER WALLIS: Improved seal.

23 PARTICIPANT: Yes.

24 MR. LEHNER: But the flood wall has not
25 been installed yet.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ACTING CHAIRMAN KRESS: So if you were
2 going to use means, it seems like it was those two
3 bottom means that would be the appropriate ones to use
4 at the current time.

5 MR. LEHNER: I guess it is for McGuire.
6 I think the flood wall has not been installed for
7 Catawba; is that correct?

8 MR. BARRETT: That's also correct. And
9 we're planning to do that in the future.

10 MEMBER WALLIS: They are planning to do
11 that anyway?

12 ACTING CHAIRMAN KRESS: That brings up an
13 interesting thought. If the plant has a current issue
14 like that, the current CDF, and your analysis is
15 supposed to account for everything going on between
16 now and the end of life and they say they're going to
17 fix it in a year, so which CDF should you use in that
18 analysis?

19 MR. LEHNER: Well, yes. I mean, you know,
20 when we looked at the risk informing 50.44, one of the
21 means of addressing the issue of igniters during
22 station blackout was obviously to drive down the
23 station blackout frequencies. So that was happening.

24 ACTING CHAIRMAN KRESS: It was happening.

25 MEMBER WALLIS: But it seems, thinking

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about your range of numbers, it may well be that with
2 the flood wall installed, the cost-benefit analysis
3 would show it's not worthwhile having these diesel
4 generators.

5 MR. LEHNER: Well, you'll see on the next
6 slide. The next slide then shows the analysis.

7 MEMBER WALLIS: It does show that?

8 MR. LEHNER: Yeah. It's a very busy
9 slide.

10 ACTING CHAIRMAN KRESS: A busy table,
11 yeah.

12 MR. LEHNER: But essentially what we've
13 done here is --

14 MEMBER WALLIS: Yeah, that's right. It
15 does. It brings it down below the cost of some of
16 your estimated costs of installing the diesel
17 generator.

18 ACTING CHAIRMAN KRESS: It brings it down
19 to 500,000.

20 MEMBER WALLIS: It brings it down 300 --

21 ACTING CHAIRMAN KRESS: Or 150,000 using
22 the mean.

23 MR. LEHNER: Yeah, let me spend some time
24 on this. The first three rows here -- can you hear me
25 okay without that?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LEHNER: Yeah.

2 MEMBER WALLIS: Yeah. I'm not sure that
3 the recorder can hear you, but we can.

4 MR. LEHNER: These are the Sequoyah 1150
5 results, and what we've done here is these are the
6 converted costs, the benefits in terms of thousands of
7 dollars.

8 ACTING CHAIRMAN KRESS: That's the .97?

9 MR. LEHNER: Yes. The first row is the --
10 well, these are the station blackout frequencies,
11 fifth, mean, 95th.

12 ACTING CHAIRMAN KRESS: Right.

13 MR. LEHNER: Going down here, we have
14 sensitivities with different early containment failure
15 probabilities. So this one is the mean in the NUREG
16 1150 probability. This is the 95th NUREG 1150
17 probability, and the .97 is from the NUREG/CR-6427.
18 That's the DCH study for ice condensers that was done
19 failure recently at Sandia where they assigned a very
20 high containment failure probability to hydrogen
21 combustion for Sequoyah. It was .97.

22 MEMBER WALLIS: If we use the mean, we get
23 320. Do I see that?

24 MR. LEHNER: Yes.

25 MEMBER WALLIS: And if we use the two

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 means, we get 320?

2 MR. LEHNER: Yes.

3 MEMBER WALLIS: And if you go down the
4 other ones, we get even smaller numbers, like 30 or
5 something.

6 ACTING CHAIRMAN KRESS: These what, five
7 percent?

8 MEMBER WALLIS: Tiny numbers if you use
9 the means.

10 ACTING CHAIRMAN KRESS: Oh, yeah, if you
11 use the means.

12 MEMBER WALLIS: You get 30.

13 MR. LEHNER: well, if the station blackout
14 frequency is low enough.

15 MEMBER WALLIS: Well, that's just using
16 the means.

17 MR. LEHNER: It's using the means, yes.

18 MEMBER WALLIS: That's a pretty small
19 number. These are Ks?

20 MR. LEHNER: Yes, these are Ks.

21 MEMBER WALLIS: Your costs are of the
22 order of hundreds of Ks, your cost of installing
23 diesels.

24 MR. LEHNER: yes.

25 MEMBER WALLIS: So the big numbers at the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 upper bound that you quote in your report is the real
2 upper bound. It's way far away from the mean.

3 MR. LEHNER: Yes, but, well, what we
4 wanted to do was we realized if you took the 90 -- if
5 you want to consider a combined 95th percentile as an
6 upper bound, that is, a combined Level 1/Level 2
7 uncertainty, you couldn't just take the 95th percent
8 of the Level 2 and the 95th percent of the Level 1
9 because that would drive you up beyond the 95th and
10 the combined.

11 ACTING CHAIRMAN KRESS: Yeah, that does.

12 MR. LEHNER: So you can't glean directly
13 from NUREG 1150 what the combined uncertainty would be
14 for this particular case, but for other -- there are
15 some numbers in 11th that show you that if you combine
16 Level 1 and Level 2 uncertainty, the 95th percentile
17 with the combined uncertainty is within one order of
18 magnitude of the mean of that combined uncertainty.
19 So that's why --

20 ACTING CHAIRMAN KRESS: So that's where
21 the numbers come from.

22 MR. LEHNER: That's right. So this --

23 ACTING CHAIRMAN KRESS: Multiplying the
24 mean by an order --

25 MR. LEHNER: -- is 320, ten times, but we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 said that this would be an upper bound, meaning the
2 95th percentile of the combined uncertainty.

3 MEMBER WALLIS: The mean give you a value,
4 but you might say the expected benefit. Now, if you
5 were going to invest in something, you would invest on
6 the basis of an expected benefit, not an amount you
7 might get in some absolutely extreme case.

8 ACTING CHAIRMAN KRESS: Well, I think one
9 of the things they're asking us for guidance on is how
10 do you use these.

11 MR. ROSENTHAL: In the cost-benefit
12 guidelines, it says that you should put more weight on
13 the mean values, and then it also says that you should
14 consider the uncertainty.

15 ACTING CHAIRMAN KRESS: Yeah. That's
16 about all it tells you, too, isn't it?

17 MR. ROSENTHAL: And so if you have some
18 more guidance, we would appreciate it.

19 MEMBER WALLIS: I guess if we just looked
20 at some of these means, we might not have a
21 containment at all.

22 MR. LEHNER: Well, I mean --

23 MEMBER WALLIS: I don't mean in this case.
24 I mean some reactor types argue that on the basis of
25 cost-benefit you don't need a containment, but we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 still have a containment.

2 ACTING CHAIRMAN KRESS: Yeah, that's
3 another argument.

4 MR. LEHNER: Your core damage frequency
5 blown up.

6 Okay. So the first three rows are
7 Sequoyah 1150 analysis. This next set of calculations
8 is for Catawba using the three different scenarios
9 that are in the previous slide, and what we've done
10 here is -- here what we've done is we've done a
11 sensitivity on the containment failure probability.
12 That's fixed here. We used the containment failure
13 probability of .29, which by the way, turns out to be
14 the containment final probability assigned in
15 NUREG/CR-6427 to Catawba, but is also similar to
16 containment failure probabilities used in the Duke
17 PRAs themselves. So we felt that was a reasonable
18 number to use here.

19 But what's varied here is we're using here
20 the results that Duke provided, and we realize that
21 one of the differences, one of the consequences, the
22 relief fractions and so we did a sensitivity where we
23 grafted on the Sequoyah source term, the Sequoyah
24 consequences, and this just -- the 1.8 factor here
25 because of population around Catawba is about 80

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 percent higher than around Sequoyah, we then
2 multiplied the Sequoyah consequences, at least the
3 person-rem consequences, by 1.8.

4 MEMBER WALLIS: What's the reason for
5 grafting on a Sequoyah 1150 to a Duke plant?

6 MR. LEHNER: Simply to get a sensitivity
7 on the consequence.

8 MEMBER WALLIS: So somebody can compare
9 with their figures?

10 What does Duke say about -- who has the
11 Sequoyah plant? Who owns the Sequoyah plant?

12 ACTING CHAIRMAN KRESS: TVA.

13 MEMBER WALLIS: Do they have an analysis
14 to compare with 1150?

15 MR. LEHNER: Not that I'm aware of.

16 ACTING CHAIRMAN KRESS: Well, Sequoyah was
17 one of the 1150 plants.

18 MEMBER WALLIS: I know it was, but you
19 see, we're sort of getting the impression that Duke's
20 numbers are significantly smaller than numbers that
21 you can get by grafting on the Sequoyah. So the
22 question is: who do you believe?

23 At least they analyze their own plant.
24 They didn't graft something on.

25 MR. LEHNER: We have no choice.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ACTING CHAIRMAN KRESS: I think part of
2 the difference is 1150 was a lot driven by expert
3 opinion, whereas the Duke numbers, I'm sure, come
4 right out of the PRA with the uncertainties.

5 MEMBER WALLIS: They have a good PRA.
6 It's more believable to me than this expert opinion
7 which has a tremendous --

8 ACTING CHAIRMAN KRESS: Well, these
9 opinions are supposed to take care of model
10 uncertainties as well as parameter uncertainties.

11 MR. LEHNER: Yeah, I mean, it's not just
12 the expert opinion here. The difference is here that
13 in 1150 the form term code package was used --

14 ACTING CHAIRMAN KRESS: To get the
15 consequences because you're right. The consequences
16 weren't expert opinion. They actually -- they also
17 went to the Level 2 with expert opinion, and then
18 grafted the consequences onto that from a max
19 calculation

20 MR. LEHNER: Yes.

21 ACTING CHAIRMAN KRESS: You're right. I
22 forgot about that. So it is different.

23 MR. LEHNER: Whereas, you know, I think
24 these were -- the releases he calculated was max.

25 ACTING CHAIRMAN KRESS: Yeah, the only

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 difference would be in the source term used.

2 MR. LEHNER: Yes, and the source term, I
3 mean, it's a question of which source term you pick,
4 as well. I mean, you know, there is -- if you
5 remember the 1150 analysis, the source terms were
6 really -- well, did a lot of parametric studies. So,
7 you know, we pick the source term that was an early
8 containment failure and had some other characteristics
9 that one would expect in this kind of sequence, but
10 there are other kinds of source terms one could pick
11 with less consequences or more consequences.

12 MEMBER WALLIS: Now, they have replaced
13 the seal. So we should at least consider that.

14 MR. LEHNER: Yes.

15 MEMBER WALLIS: Now, the flood wall, I
16 wasn't quite clear. Are they working to install the
17 flood wall or do you think it's going to be done in
18 the future? What's the story?

19 ACTING CHAIRMAN KRESS: Is there a
20 commitment?

21 MR. GILL: Yes, sir. This is Bob Gill
22 with Duke Energy.

23 Both McGuire and Catawba filed letters
24 back in August with the staff, and I have copies of
25 the commitment for the committee, and Catawba

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 committed to complete it by early 2005, which is
2 roughly three years from now. There's a transform in
3 the base of the turbine building which is susceptible
4 to flooding, and for the committee, those are public
5 record letters and contain those commitments.

6 MEMBER WALLIS: So if you installed the
7 emergency diesel, it would probably only work for a
8 year and probably be valuable for a year. Then it
9 wouldn't be needed essentially based on this
10 analysis.

11 ACTING CHAIRMAN KRESS: Because you've got
12 this.

13 MEMBER WALLIS: Because you've got the
14 flood wall.

15 MR. GILL: The flood wall is a very cost
16 effective modification, cost beneficial.

17 ACTING CHAIRMAN KRESS: What are the
18 consequences if you don't meet such a commitment?

19 MR. GILL: There's a process with the
20 staff on revising commitments, and we would have to
21 negotiate with the staff on that, but as it stands
22 now, there's no intentions to change that commitment.
23 It's in the budget plan to do that.

24 It's a relatively simple mod., too. It's
25 concrete and steel and rebar. No moving parts.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ACTING CHAIRMAN KRESS: No real
2 difficulties that --

3 MR. GILL: No, sir.

4 MR. LEHNER: And here are some benefits in
5 terms of some of the point estimates for external
6 events on the very extreme right.

7 ACTING CHAIRMAN KRESS: Now, let me ask
8 you about external events, particularly seismic. Does
9 that not drive the estimated initiating event
10 frequency for loss of off-site power? I mean, isn't
11 that implicit in there or not?

12 MR. LEHNER: Well, it's not implicit in
13 those. The numbers I showed before were -- well, the
14 1150 numbers were internal event frequencies only.

15 ACTING CHAIRMAN KRESS: Yeah, but you
16 know, I don't understand, an internal event frequency
17 for loss of offset power, because that's an external
18 like thing, and it's a frequency that comes from
19 experience or something.

20 And I assuming that might implicitly
21 assume seismic events.

22 MR. LEHNER: No, it doesn't.

23 ACTING CHAIRMAN KRESS: It doesn't?

24 MR. LEHNER: No. I mean, that's one of
25 the --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ACTING CHAIRMAN KRESS: Okay. That was
2 one --

3 MR. LEHNER: -- conventions, I guess,
4 that, you know, loss of off-site power is considered
5 an internal initiator.

6 ACTING CHAIRMAN KRESS: I guess that
7 seismic events are probably such low frequency
8 anything that it might not add much to the frequency,
9 do you think?

10 MR. LEHNER: Well, it depends on the
11 location of the plant. It could be comparable to the
12 internal event frequency in some cases.

13 ACTING CHAIRMAN KRESS: It might double it
14 then?

15 MR. LEHNER: It could, yes.

16 ACTING CHAIRMAN KRESS: Which in my mind
17 is no consequence in terms of this. Doubling is not
18 a big -- unless it increases it a factor of ten, it's
19 not a big deal in this.

20 MR. LEHNER: In terms of station blackout,
21 you know, the seismic event would usually -- one
22 would expect a seismic event to lead to station
23 blackout.

24 ACTING CHAIRMAN KRESS: That's right.

25 MR. LEHNER: Yeah. But, of course, you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 know, from the other end, Jim Meyer will represent the
2 -- if you want to have combustible gas controlled
3 system that will work under seismic conditions, then
4 it will drive up the cost.

5 ACTING CHAIRMAN KRESS: Yeah, there's lots
6 of other things. Yeah, you're right. It's probably
7 not worth it.

8 MR. ROSENTHAL: Just before we leave this
9 slide and we intentionally wanted to dwell on this
10 because even though it's a busy slide, it really
11 encompasses much of what was done. You run into the
12 issue of you can always add another diesel, another
13 diesel and drive down the frequency of station
14 produced blackouts. So that's on the prevention side
15 when considering a mitigation fix.

16 And so another decision question really is
17 -- and it's a policy issue -- is should you take
18 however many preventive fixes are needed to drive the
19 numbers sufficiently low where at some point you
20 require some degree of mitigation.

21 ACTING CHAIRMAN KRESS: Kind of a defense
22 in depth indication.

23 MR. ROSENTHAL: Right, and we don't have
24 numbers for that. So again, we recognize that, and
25 that in my mind is a policy issue. We want to trade

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 here, and they'll contend ten to the minus five to ten
2 to the minus six. Well, could you drive it an order
3 of magnitude lower yet? At what point do you believe
4 it has mitigation?

5 And again, just before we leave this slide
6 because I'm sure that not everybody in the room has
7 read all of the reports, the cost of a fix is about
8 two to \$300,000. So at least in my mind, I look at
9 those numbers that are within on the order of two or
10 300,000 or greater. Some decision guidance.

11 ACTING CHAIRMAN KRESS: Right. One of the
12 gray areas where it's near the line.

13 MR. ROSENTHAL: Right. Actually, Charlie
14 Ader, my Deputy Division Director, has pointed out to
15 us that we had an opportunity when we looked at the
16 IPEs to think about this issue, and then there was the
17 containment performance improvement program, and there
18 was another opportunity to revisit the issue.

19 And when we did the DCH report, that's
20 sort of new information that. So effectively we've
21 been working these issues with low core damage
22 frequency and trying to decide if it was worthwhile or
23 not for at least 20 years.

24 ACTING CHAIRMAN KRESS: A tough decision.

25 MEMBER WALLIS: Well, maybe if it's a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 tough decision it simply means that it doesn't matter
2 too much which one you make. It's up in the air.

3 ACTING CHAIRMAN KRESS: That's sometimes
4 a characteristic of tough decisions.

5 MEMBER WALLIS: What should we think about
6 D.C. Cook?

7 ACTING CHAIRMAN KRESS: D.C. Cook?

8 MEMBER WALLIS: Yeah. You don't have
9 something like this for D.C. Cook?

10 MR. LEHNER: No.

11 MEMBER WALLIS: Should we assume it's
12 similar or very different?

13 MR. LEHNER: Well, interesting question.
14 I mean, as I said earlier, there are some differences,
15 and you always can come down through, but they are
16 very similar plants. The only information that we had
17 from D.C. Cook was based on the IPEs, and in the IPEs,
18 the Level 2 analysis for the ice condensers all
19 resulted in very low containment failure
20 probabilities, lower than large dry containments in
21 most case.

22 So I guess the answer is we don't have
23 similar information.

24 ACTING CHAIRMAN KRESS: What's the site
25 like at D.C. Cook? Where is it located? I've

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 forgotten?

2 MR. LEHNER: It's located down South,
3 right?

4 MR. MEYER: No, it's up at the Great
5 Lakes.

6 MR. LEHNER: Oh, that's the one.

7 PARTICIPANT: I think it's Lake Michigan,
8 but I'm not sure.

9 ACTING CHAIRMAN KRESS: Likely they have
10 a fairly low population.

11 MR. MEYER: One whole side would be the
12 lake.

13 ACTING CHAIRMAN KRESS: Yeah, and the wind
14 is always blowing the other way, except at night, and
15 then it goes the other way, and that's when all of the
16 accidents are.

17 MEMBER WALLIS: So we should think of Cook
18 as fitting into this same sort of pattern, roughly
19 speaking?

20 MR. LEHNER: Well, I would think so. Like
21 I said, certainly in -- you know, the plants are very
22 similar, and so at least from that consideration --

23 MEMBER WALLIS: So why does it have a very
24 low containment failure probability?

25 MR. LEHNER: Which?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: D.C. Cook. I thought you
2 said it was lower.

3 MR. LEHNER: Actually in the IPEs, all of
4 the ice condenser containments had very low failure
5 probabilities. So I wouldn't assign --

6 MEMBER WALLIS: It's not unusual in this
7 class.

8 MR. LEHNER: Yes. I would not think that
9 D.C. Cook was any lower than the other plants because
10 of the IPEs. But we were fortunate to get this
11 information from Duke Power so we could get some
12 updated values for Catawba and McGuire.

13 (Pause in proceedings.)

14 MR. LEHNER: If there are no other
15 questions on this, I'll move on to the Mark III.

16 MEMBER WALLIS: That's a very useful,
17 useful diagram.

18 MR. LEHNER: For the Mark III plants,
19 there's a couple of things to consider. First of all,
20 because of the Mark III design, you need to fail both
21 the containment as well as the drywell in order to get
22 a significant release.

23 I don't know if you have a picture of the
24 Mark III containment.

25 ACTING CHAIRMAN KRESS: We have it in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 mine.

2 MR. LEHNER: Okay. So that's an important
3 factor to consider.

4 ACTING CHAIRMAN KRESS: There's little,
5 very little bypass.

6 MR. LEHNER: Yes. BWR is just --

7 ACTING CHAIRMAN KRESS: And they were
8 designed to get rid of the bypass.

9 MR. LEHNER: Yes, yes.

10 The other thing is that if you look at the
11 1150 accident progression analysis, it indicates that
12 the igniters really are only effective for sequences
13 with low RCS pressure; that they're not going to
14 alleviate the containment failure with sequences of
15 high RCS pressure.

16 ACTING CHAIRMAN KRESS: That's because it
17 failed anyway or --

18 MR. LEHNER: Yes, the vessel breach. They
19 fail anyway.

20 And the third thing is that the Mark IIIs
21 really don't have anything comparable to what I shoed
22 for the Duke plants. We only have the 1150 analysis,
23 and we have some IPE results, and then we have the
24 more recent SPAR models.

25 I don't think there's even any license

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 renewal SAMDA analysis from the Mark IIIs.

2 ACTING CHAIRMAN KRESS: How many Mark IIIs
3 did we say were out there?

4 MR. LEHNER: Four.

5 ACTING CHAIRMAN KRESS: Four?

6 MR. LEHNER: All single units.

7 ACTING CHAIRMAN KRESS: All single units?

8 MR. LEHNER: To return to the 1150 study
9 for Grand Gulf, we see that, again, station blackout
10 core dynamic frequency, the mean values here are lower
11 than for the ice condensers.

12 The conditional probability of early
13 containment failure is relatively high, but remember
14 that you have to fail both the containment and the
15 drywell, not just the containment here to get
16 significant release.

17 The bottom here shows the SPAR model
18 station blackout ranges.

19 ACTING CHAIRMAN KRESS: Oh, I'm not able
20 to just multiply this by the SBO CDF frequency then to
21 get the consequences?

22 MR. LEHNER: No. You mean the -- oh, you
23 mean --

24 ACTING CHAIRMAN KRESS: The .5 times --

25 MR. LEHNER: The .5? No.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ACTING CHAIRMAN KRESS: Because that's
2 just the conditional probability of early failure --

3 MR. LEHNER: Yes.

4 ACTING CHAIRMAN KRESS: -- of the
5 containment?

6 MR. LEHNER: Right, right, right, yeah.

7 ACTING CHAIRMAN KRESS: I didn't realize
8 that before. So actually --

9 MR. LEHNER: It turns out that --

10 ACTING CHAIRMAN KRESS: -- actually the
11 Mark IIIs are even more beyond the cost benefit
12 analysis because of this?

13 MR. LEHNER: There's lower benefit for
14 Mark IIIs in general.

15 ACTING CHAIRMAN KRESS: I mean even lower
16 than -- the numbers we have, do they include your
17 combined failure of the --

18 MR. LEHNER: Yes, yes.

19 ACTING CHAIRMAN KRESS: Oh, the numbers
20 have already got that --

21 MR. LEHNER: Yes, yes.

22 ACTING CHAIRMAN KRESS: -- picture in?
23 Okay. I'm sorry.

24 MEMBER WALLIS: The next one.

25 ACTING CHAIRMAN KRESS: Oh, here. Yeah,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I see.

2 MR. LEHNER: I just want to mention again
3 that the SPAR three I models have not been QAed, and
4 so these frequencies may change quite a bit. As I
5 said, we really had very little information for the
6 Mark IIIs, and as you can see, the station blackout
7 frequency for River Bend there, one times ten to the
8 minus five is actually quite high for a Mark III BWR
9 plant.

10 And I think it's fair to say that in the
11 IPEs, that frequency was quite a bit lower, but the
12 SPAR models so far have assigned that frequency. So
13 we're using this as sort of to get a maximum estimate,
14 an estimate of what the maximum benefit could be.

15 Okay. This indicates the what I had
16 mentioned earlier, the fact that the igniters really
17 only benefit you during low pressure sequences, and if
18 you look at the 1150 study, you see that while the
19 containment failure probability is about .5 for high
20 pressure sequences across the Board, the containment
21 and drywell failure probability, that it's the
22 probability of both of them failing is about .2 across
23 the board, whereas for the low pressure sequences, the
24 containment failure and drywell failure probability
25 during station blackout sequences is still .5 and .2,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 but if you have the igniters available, then the
2 containment failure probability and the drywell
3 failure probability become very low.

4 MEMBER WALLIS: There are technical
5 analyses or are these expert judgments?

6 ACTING CHAIRMAN KRESS: An expert.

7 MR. LEHNER: There is expert judgment in
8 here because, you know, you're talking about combining
9 severe accident loads, which are very uncertain, with
10 --

11 ACTING CHAIRMAN KRESS: With fragilities.

12 MR. LEHNER: Fragilities, and while the
13 fragilities --

14 ACTING CHAIRMAN KRESS: And actually the
15 overlap between the two --

16 MR. LEHNER: Between the two, yeah, yeah,
17 and I guess, you know, the fragilities we can get a
18 reasonable handle on, but the loads --

19 ACTING CHAIRMAN KRESS: The loads are
20 what's driving uncertainty.

21 MR. LEHNER: -- are very uncertain.

22 ACTING CHAIRMAN KRESS: Even the
23 fragilities have a lot of uncertainty.

24 MR. LEHNER: Yes, yes. But they're
25 certainly tighter than a load part.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ACTING CHAIRMAN KRESS: Yeah.

2 MEMBER WALLIS: Well, is there a tendency
3 to be conservative in estimating fragility?

4 ACTING CHAIRMAN KRESS: Well, the NUREG
5 1150 was supposed to get a distribution.

6 MR. LEHNER: Yes.

7 ACTING CHAIRMAN KRESS: Not to have any
8 fast --

9 MEMBER WALLIS: It was supposed to be
10 realistic.

11 ACTING CHAIRMAN KRESS: Yes.

12 MR. LEHNER: Yes.

13 ACTING CHAIRMAN KRESS: That was the idea.

14 MR. LEHNER: Yes.

15 ACTING CHAIRMAN KRESS: But it was
16 supposed to incorporate model uncertainties.

17 MR. LEHNER: So given -- oh, sorry. This
18 slide says PWR. Obviously it should be BWR Mark III.

19 ACTING CHAIRMAN KRESS: I'd like to see
20 one those PWR Mark IIIs.

21 MR. LEHNER: So this then shows the
22 averted costs for Mark IIIs, and as you can see,
23 they're substantially less than they were for the ice
24 condensers.

25 Here we've done some sensitivity

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 calculations where the first row across for Grand Gulf
2 uses the mean NUREG 1150 probability of early
3 containment failure.

4 The second row uses the 95th NUREG 1150
5 probability of early containment failure.

6 The third row says let me assume that I
7 have half of my sequences at lower pressure and my
8 drywell always fails if the containment fails.

9 By the way, let me back up for a minute.
10 If I look at this slide, since my containment failure
11 is .5 and my combined containment and drywell failure
12 is .2, I can infer that the conditional probability of
13 the drywell failing if the containment fails is .4.

14 ACTING CHAIRMAN KRESS: Yeah. So you used
15 one.

16 MR. LEHNER: So we used one here instead
17 of .4.

18 ACTING CHAIRMAN KRESS: That lets you
19 divide the sequences in half.

20 MR. LEHNER: Well, but the first two we
21 said there's only 40 percent of the sequences are low
22 pressure. So we've actually increased the lower
23 pressure sequences.

24 ACTING CHAIRMAN KRESS: Oh, I see. The
25 first two have --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LEHNER: Yeah, yeah.

2 ACTING CHAIRMAN KRESS: I didn't realize
3 that.

4 MR. LEHNER: Sorry. One of the earlier
5 slides, yeah, I should have pointed out that in
6 general it looks like 40 percent of the sequences
7 would be at low pressure. So we try to get a handle
8 on the maximum benefits by taking a relatively -- at
9 least from trying to maximize the benefits from a
10 conservative view of the accident progression here.

11 And then the next two -- that's the first
12 three rows, and then in rows four, five, and six,
13 they're just for Grand Gulf with the SPAR model
14 station blackout frequency, and then we have the last
15 three rows there at the bottom for River Bend with the
16 station blackout frequency, which is, as I pointed out
17 --

18 ACTING CHAIRMAN KRESS: It's interesting.

19 MR. LEHNER: -- was quite a bit higher.

20 ACTING CHAIRMAN KRESS: The SPAR models
21 are not too far off from NUREG 1150.

22 MR. LEHNER: Well, the River Bend one is
23 quite a bit higher because --

24 ACTING CHAIRMAN KRESS: Oh, yeah, the
25 River Bend.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LEHNER: -- they assigned this high
2 core damage frequency.

3 So finally, we wanted to look at some of
4 the reasons why there is such a difference between the
5 Sequoyah benefits and the Grand Gulf benefits, and
6 this slide tries to illustrate that.

7 If you look at the mean values for
8 Sequoyah from 1150 and the means values from Grand
9 Gulf for 1150, you get a factor of roughly 30 between
10 the benefits for Sequoyah and the benefits for Grand
11 Gulf.

12 And this slide tried to show where that
13 factor comes from. It's about a factor of four in the
14 station blackout frequency, and Sequoyah's value is
15 higher.

16 The averted conditional containment
17 failure, there's about a factor of two there, and then
18 there's also a big factor due to the population around
19 the different plants. Grand Gulf has a very low
20 population density around it.

21 So we also looked at population densities
22 around Mark IIIs, and I think Perry has the highest
23 population density. It's about five times higher than
24 Grand Gulf.

25 So that factor of five would be one for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Perry. But anyway, that's how you get the factor of
2 30 between Sequoyah and Grand Gulf.

3 So that concludes my presentation.

4 MR. NOTAFRANCESCO: Okay. The next person
5 on the agenda is Jim Meyer who has done the cost
6 analysis.

7 MR. MEYER: Thank you, Allen.

8 Jim Meyer from ISL.

9 MS. WESTON: Jim, do you need the body
10 mic? Do you need the body mic?

11 MR. MEYER: I don't think so. Let's see
12 how this goes, and I'll be happy to use it if needed.

13 ACTING CHAIRMAN KRESS: Are you going to
14 tell us what ISL is?

15 MR. MEYER: I'm sorry. What?

16 ACTING CHAIRMAN KRESS: Are you going to
17 tell us what ISL is?

18 MR. MEYER: Information Systems
19 Laboratories. We do consulting work for NRC.

20 ACTING CHAIRMAN KRESS: Are you located
21 here at in Washington?

22 MR. MEYER: Yes, our office is just right
23 down the street across from Mike Flynn.

24 I'll tell you what I plan to discuss this
25 afternoon. I wanted to spend a few minutes going

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 through the actual cost assessment process, how we get
2 to the final bottom line numbers, and also go over
3 some of the assumptions that went into that
4 determination, and then talk for a few minutes about
5 the actual cost analysis results themselves.

6 It was clear from the previous discussion
7 that uncertainty was important. So we put an
8 uncertainty perspective on the cost estimates, and
9 then there's some comments about the implications of
10 system reliability, an issue that also came up at the
11 previous meeting.

12 This figure was in the report that you
13 received, and it allows for an overview of the --

14 ACTING CHAIRMAN KRESS: Now, did you
15 interface with the various licensees to get this
16 information?

17 MR. MEYER: Yes, we did. We gathered
18 information from a number of sources, from the staff,
19 from the licensee information, in particular, the SAMA
20 process, the severe accident mitigation alternative --

21 ACTING CHAIRMAN KRESS: Oh, yes.

22 MR. MEYER: -- process as part of license
23 renewal.

24 There are, I guess, now about ten of those
25 that have been submitted that we looked at, and for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 each one, they propose severe accident mitigation
2 alternative type fixes and do a cost-benefit analysis
3 associated with that.

4 The Duke analysis, in particular, was very
5 helpful in providing us with cost estimates for the
6 back-up power.

7 And this figure does give a breakdown of
8 how we determined the total cost, and again, it is
9 completely consistent with the guidelines that we
10 referred to earlier, the regulatory analysis
11 guidelines.

12 We address four impact attributes: the
13 industry implementation, industry operation, and then
14 the counterpart for NRC, the implementation for NRC,
15 and the NRC operation.

16 On the far left, you see the breakout of
17 the industry implementation. We'll talk about that in
18 a little more detail in a minute or two, but it's the
19 actual hardware, the installation of that hardware,
20 the engineering associated with that, the dollar
21 equivalent of the worker dose when it involves
22 exposure to radiation to install the device, the
23 emergency procedures, preparation, and then the
24 licensing costs.

25 Over the 40 year assumed remaining life of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the plant, the industry operation aspects are the
2 surveillance costs, the maintenance costs, and the
3 testing costs for the back-up power system.

4 ACTING CHAIRMAN KRESS: Would this be
5 assumed to be a safety system?

6 MR. MEYER: I'm sorry. What?

7 ACTING CHAIRMAN KRESS: Would this -- if
8 this were in, would it be assumed to be a safety
9 system, SSC?

10 MR. MEYER: This would not be a safety
11 system in terms of the normal, what you normally think
12 about as a safety system.

13 ACTING CHAIRMAN KRESS: Yeah, but still
14 there would be certain surveillance and testing
15 required.

16 MR. MEYER: Yeah, it would have
17 surveillance, maintenance, and testing consistent with
18 systems appropriate for accident management and for
19 beyond design basis type accident accommodation.

20 ACTING CHAIRMAN KRESS: Okay.

21 MR. MEYER: The NSC implementation costs
22 or the consideration of rulemaking and the NRC review
23 costs and --

24 ACTING CHAIRMAN KRESS: We don't count
25 what's going on right now as far as that cost.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MEYER: Do you mean the rulemaking,
2 the 50.44 rulemaking?

3 ACTING CHAIRMAN KRESS: No, I mean the
4 study that research has done to produce this report.

5 MR. MEYER: No. No, that cost is not
6 included.

7 ACTING CHAIRMAN KRESS: Okay.

8 MR. MEYER: And then --

9 MEMBER FORD: Of all those costs, does
10 anyone predominate or are they --

11 MR. MEYER: I'd have to -- do you mean
12 among the various studies?

13 ACTING CHAIRMAN KRESS: I would guess the
14 installation.

15 MR. MEYER: Oh, among these costs, the
16 industry implementation is the biggest cost.

17 MEMBER FORD: By a large factor?

18 MR. MEYER: By a considerable factor, and
19 we can get into that in a few minutes.

20 MEMBER FORD: Okay.

21 MEMBER WALLIS: Well, the cost of the
22 diesel itself is --

23 ACTING CHAIRMAN KRESS: Is probably not
24 even on the map.

25 MEMBER WALLIS: -- a few percent of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 total cost.

2 MR. MEYER: Yes, as it turns out, whether
3 you're talking about a portable diesel or a pre-stage
4 diesel, it's a small percentage of the total cost even
5 for the industry implementation.

6 MEMBER FORD: Is that because they're
7 safety related?

8 ACTING CHAIRMAN KRESS: No.

9 MEMBER FORD: No? Okay.

10 MR. MEYER: Well, there are a variety of
11 reasons for it that we'll get to in a few minutes.

12 MEMBER FORD: Okay.

13 MR. MEYER: We've already touched on a few
14 of these, but I'll go through them and answer any
15 questions relative to them.

16 We're going to be actually talking about
17 the actual costs in a few minutes, but under the
18 industry implementation, the materials and equipment
19 covers all of the hardware aspects, and in this case
20 the cost of the diesel generators, the conduit and
21 cabling, the electrical panels that are required.

22 Installation is mainly a labor matter, the
23 cost of installing the device. Engineering I think is
24 obvious. It's the cost of doing the engineering
25 preparation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Occupational exposure we made an estimate
2 of and translate that into dollars using the 2000
3 dollars per person-rem, and then we also include
4 emergency procedure preparation and then the licensing
5 costs, for example, changes to the UFSAR.

6 For the industry operation, and again,
7 it's over 40 years consistent with the benefits
8 analysis, we include the maintenance, testing, and the
9 surveillance of the back-up power system.

10 NRC implementation and operation, as I
11 said earlier, include the items listed here.

12 MEMBER WALLIS: These four kilowatt
13 diesels, is that something like what are used on
14 construction sites?

15 MR. MEYER: The portable diesels?

16 MEMBER WALLIS: They're a standard item
17 that are used on construction sites, aren't they?

18 MR. MEYER: The portable diesels?

19 MEMBER WALLIS: Yeah, you're going to have

20 --

21 MR. MEYER: Yes.

22 MEMBER WALLIS: -- just put this in the
23 back of your pickup truck and drive off.

24 MR. MEYER: Right.

25 MEMBER WALLIS: It's a very standard item.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MEYER: This is a very standard item.
2 There's a large variety of portable diesels available
3 with considerable power ranges. You can have portable
4 diesels to accommodate the power requirements you
5 know, for the igniters if you would choose that
6 option.

7 ACTING CHAIRMAN KRESS: There's no
8 consideration of the diesel reliability and the
9 benefits of miscalculating?

10 MR. MEYER: Yeah, the benefit analysis
11 assumes 100 percent reliable system, and I will speak
12 to that in a few minutes, but --

13 ACTING CHAIRMAN KRESS: Do you have to pay
14 more for that reliability?

15 MR. MEYER: You have to pay more, and in
16 fact, we did take that into consideration based on
17 some comments from the previous meeting in terms of
18 costs, operational costs, as well as costs for
19 hardware.

20 MEMBER WALLIS: Why do they have to be
21 diesels?

22 MR. MEYER: They don't have to be diesels.

23 MEMBER WALLIS: High powered gasoline
24 powered.

25 MR. MEYER: They could be gasoline

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 powered. In fact, some licensees are considering
2 gasoline powered back-up capabilities.

3 We chose diesel for a number of reasons.
4 Their reliability, a well known commodity, and that
5 the utilities are familiar with, but there are those
6 other options.

7 I want to just touch briefly on the
8 physical modifications that we considered. As our
9 base case, we considered the pre-staged diesel to
10 power the igniters, and then as an alternative we
11 considered the portable diesel. The pre-stage diesel,
12 everything is set up ahead of time so that the only
13 thing that the operator would really have to do is go
14 to the diesel, start it up, and then make sure that
15 there was power applied to the igniters.

16 In the case of the portable, it's more
17 complicated in that the portable diesel would be
18 stored at a location probably away from the auxiliary
19 building. It would have to be physically moved to a
20 panel. We were thinking of being close to the
21 auxiliary building, and then the igniters activated
22 that way.

23 MEMBER WALLIS: The igniters all have to
24 be on at the same time? I mean your power requirement
25 is based on having all of the igniters on all of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 time?

2 MR. MEYER: Yes, that was --

3 ACTING CHAIRMAN KRESS: I think that's the
4 only way.

5 MR. MEYER: -- that's an assumption that
6 we made, that for a variety of reasons we determined
7 that one train of igniters was a necessary and
8 sufficient condition for effective operation.

9 MEMBER WALLIS: Because the actual
10 ignition takes very little energy. It just it's --
11 what takes the energy in an igniter?

12 ACTING CHAIRMAN KRESS: There's not much
13 energy involved, but --

14 MR. LEHNER: The igniter energies vary.
15 The igniters that are used for Duke, for example,
16 require about five kilowatts, while the igniters for
17 TVA require about 20 kilowatts.

18 MEMBER WALLIS: Yeah, but that's not the
19 ignition problem. The ignition probably takes a very
20 small amount of energy, but it's all of the equipment.

21 ACTING CHAIRMAN KRESS: Well, they have to
22 be at the right temperature, and they have to be where
23 the hydrogen in there are.

24 MR. NOTAFRANCESCO: Each igniter is 100
25 watts.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MEYER: Right.

2 MEMBER WALLIS: And so it's the heat loss
3 from the thing which is taking most of the energy?

4 ACTING CHAIRMAN KRESS: Yeah.

5 MR. NOTAFRANCESCO: The igniter is about
6 1,700 degrees Fahrenheit.

7 MEMBER WALLIS: All right. So it's the
8 heat losses which are taking the energy. Okay. So
9 it's not just a spark. It's something which is on all
10 the time.

11 ACTING CHAIRMAN KRESS: There are spark
12 igniters, but I don't think anybody uses them.

13 MEMBER WALLIS: With a spark igniter, you
14 could probably use sort of 100 watts and just charge
15 up some condenser and go bang.

16 ACTING CHAIRMAN KRESS: Yeah, but you have
17 to know when to spark it.

18 MEMBER WALLIS: Yeah, that's right.
19 You've got to have some intelligence system.

20 MR. MEYER: Another modification that will
21 be considered was having a prestage that would
22 accommodate both the power to the igniters and the air
23 return fans, and the subject of the role of the air
24 return fans will be part of a later presentation.

25 Then we also considered passive water

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 catalytic recombiners as just another alternative to
2 the back-up power to the in place igniters.

3 The assessment was differentiated in a
4 number of respects. We considered reactor types,
5 containment types, and also balance of plant.

6 Also, it turns out that the number of
7 reactors at the site is important. With dual unit
8 sites, you can share some of the costs and keep the
9 costs down compared to the single unit sites.

10 ACTING CHAIRMAN KRESS: Is that a big
11 deal? Could you use the same portable diesel, say,
12 for both sites?

13 MR. MEYER: Well, that had more of an
14 impact for the pre-staged --

15 ACTING CHAIRMAN KRESS: Oh, it did?

16 MR. MEYER: -- diesel, but you could share
17 in the preparation of procedures and allow the paper
18 work. There's a lot of cost cutting, you know, from
19 that standpoint.

20 And also differentiated by the power
21 requirements. I mentioned that the TVA power
22 requirements were considerably larger, 21 kilowatts
23 compared to the Duke and the D.C. Cook.

24 ACTING CHAIRMAN KRESS: Why are they so
25 much higher requirement of power?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MEYER: They just have a different
2 glow plug type.

3 ACTING CHAIRMAN KRESS: Just different
4 blow plug.

5 MR. MEYER: Finally, we --

6 MEMBER WALLIS: You say in your report
7 that there's a distinction between having a prestage
8 and a portable diesel. The tables seem to be
9 independent of that.

10 MR. MEYER: I'm sorry?

11 MEMBER WALLIS: I couldn't see a
12 distinction made between the prestage an the portable
13 diesel costs. The tables that are in your report
14 don't seem to make a distinction between whether it's
15 a portable diesel or prestaged.

16 MR. MEYER: We had a separate case that
17 was --

18 MEMBER WALLIS: You have a separate case?

19 MR. MEYER: -- dedicated to the --

20 MEMBER WALLIS: Okay. So you have to go
21 all the way through, and then you find the other one.

22 MR. MEYER: Yeah, I believe it was case
23 two.

24 MEMBER WALLIS: Okay. I'm sure you'll get
25 to it. But the costs of the hitch-up and everything

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and all of the cables and circuit breakers is
2 presumably the same whether it's portable or not.

3 MR. MEYER: The costs, there's a prestage
4 part to the portable diesel, and it's the prestage
5 part, the part that you're wiring into a safety grade
6 system, and it's those costs and the panels and the
7 cabling associated with that that are common to both
8 and --

9 MEMBER WALLIS: They're much bigger than
10 the cost of the diesel.

11 MR. MEYER: And they're bigger than the
12 cost of the diesel, correct.

13 We also performed some sensitivity
14 analyses. External event qualification was one of
15 those. Here the external event characterization
16 varies from site to site, as I'm sure you're aware,
17 and also much of the external event is not quantified.
18 Seismic margins are used for most of these plants.

19 And so we did a rough estimate of the cost
20 of including external events, and it's about a
21 doubling of the overall costs.

22 We also considered the sensitivity of
23 extended outage, and we based this on \$300,000 per
24 day, cost to the utility if they would have to extend
25 their outage in order to install the back-up power.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ACTING CHAIRMAN KRESS: If it about
2 doubles the cost and it about doubles the frequency,
3 is it a wash?

4 MR. MEYER: I'm sorry?

5 ACTING CHAIRMAN KRESS: If seismic
6 external events double the costs but also double the
7 frequency, then it's a wash?

8 MR. MEYER: Yeah, it would be. It
9 probably would be pretty close to a wash. That's
10 correct.

11 MEMBER WALLIS: How long does it take to
12 -- what is the effect on outage typically?

13 MR. MEYER: Well, the effect on outage,
14 you can assume any length of outage.

15 MEMBER WALLIS: I don't want to assume
16 anything. I want to get a real good estimate of how
17 long it takes.

18 ACTING CHAIRMAN KRESS: The outage is to
19 still this --

20 MR. MEYER: Well, in this case, we're
21 assuming that you don't need any extension to the
22 outage.

23 MEMBER WALLIS: I don't see it in the
24 table, or is it part of something else in the table,
25 like installations? Is it part of the installation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cost?

2 MR. MEYER: No, we looked at the cost of
3 an extended outage, and it's based on \$300,000 assumed
4 for a day. Our base case assumed that there would be
5 no extended outage, that it could be performed within
6 the normal --

7 MEMBER WALLIS: You say it might be a day
8 or something?

9 MR. MEYER: No, for our analysis, we
10 assumed eight hours, a third of a day or \$100,000
11 addition.

12 ACTING CHAIRMAN KRESS: Okay.

13 MEMBER WALLIS: Oh, you assumed eight
14 hours.

15 MR. MEYER: Yes.

16 MEMBER WALLIS: As the sensitivity. Okay.

17 MR. MEYER: But it was only just to get an
18 idea of how that would affect the overall number.

19 MEMBER WALLIS: So the mean would be four
20 hours?

21 MR. MEYER: It could be four hours.

22 ACTING CHAIRMAN KRESS: It could be a real
23 driver.

24 MEMBER WALLIS: It could be a real driver.

25 That's right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ACTING CHAIRMAN KRESS: Three hundred K a
2 day.

3 MR. MEYER: It could be a driver. That's
4 the main reason for raising the issue, but we did
5 assume that it could be accommodated within the normal
6 shutdown period.

7 And then consistent with the regulatory
8 analysis guidance, we did a three percent to seven
9 percent discount rate to see what the impact of that
10 would be.

11 MEMBER WALLIS: Is it ever going to go to
12 ten percent?

13 ACTING CHAIRMAN KRESS: No. Seven percent
14 is too high.

15 MR. MEYER: Well, you know, seven percent
16 is recommended as being the base percentage. Ten
17 percent would be pretty optimistic in terms of
18 economic growth.

19 Some of the key assumptions. As I said
20 before, the prestage diesel generator is located near
21 the auxiliary building. Its activation is remote.
22 That is, it would be located at the diesel generator,
23 and it would be manual. It would not be automatic.

24 All of our costs are consistent with the
25 benefit costs. They're in 2002 dollars with four

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 years of operation, and we're assuming that, like we
2 mentioned a minute ago, that the back-up power supply
3 need not be safety grade, and that one train is
4 necessary and sufficient for our purposes, for
5 mitigation of the consequences of the station
6 blackout.

7 MEMBER WALLIS: How thick are the diesel
8 generators that people buy for their houses for back-
9 up power?

10 MR. MEYER: How large are they?

11 MEMBER WALLIS: Yeah.

12 MR. MEYER: Well, the catalogues have --

13 MEMBER WALLIS: A few kilowatts
14 presumably?

15 MR. MEYER: Yeah, two to 20 or 30
16 kilowatts.

17 MEMBER WALLIS: They're in the range. The
18 kind of thing that you just stick on your house in
19 case of a blackout?

20 MR. MEYER: Well, that's what people buy
21 them for.

22 MEMBER WALLIS: What do they cost?

23 MR. MEYER: What do they cost?

24 MEMBER WALLIS: What do they cost
25 installed?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MEYER: They cost \$2,000.

2 MEMBER WALLIS: Installed?

3 MR. MEYER: I don't --

4 MEMBER WALLIS: Is that something you can
5 buy for your house that's 2,000 and when you put it in
6 a nuclear power plant it's 200,000?

7 MR. MEYER: Yeah, I don't know. For home
8 use, I don't know what the installation charges are.

9 MEMBER WALLIS: No, okay. I was trying to
10 get the overall costs, not just the hardware, but the
11 overall.

12 MR. MEYER: For home use I don't know what
13 they would be.

14 Another assumption, too, is that the worst
15 case scenario, we have three hours from the start of
16 the station black-out accident before these igniters
17 would have to be activated, and that was an important
18 assumption for a better understanding of what kind of
19 flexibility we had in considering the options,

20 Well, these are a summary of the results
21 for the best estimate results that we determined. The
22 first line is the --

23 MEMBER FORD: Excuse me. Would you mind
24 just going back to the previous graph?

25 MR. MEYER: The key assumptions?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER FORD: Yeah.

2 MR. MEYER: Yes.

3 MEMBER FORD: Could you explain to me why
4 it doesn't have to be safety grade? I mean, if it's
5 something that you did -- if you could buy it out of
6 Ace Hardware, that would not be safety grade.

7 MR. MEYER: That's correct, yes.

8 MEMBER FORD: But it's not saying anything
9 at all about its reliability on this. Doesn't it have
10 to be really reliable?

11 MR. MEYER: Yes, and that's why we've
12 steered away from the home use type of diesel
13 generators.

14 MEMBER FORD: Because it's not safety
15 grade.

16 MR. MEYER: No. We've looked at it from
17 a standpoint of the reliability of these systems.

18 MEMBER FORD: Right.

19 MR. MEYER: And for the purposes of the
20 cost-benefit analysis, we feel very confident that you
21 can have functional reliabilities in the range of 95
22 percent or better, and with those kind of
23 reliabilities, it's not going to perturb the cost-
24 benefit analysis whether you assume a perfect system
25 or a more realistic, 95 percent reliable system.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So we --

2 ACTING CHAIRMAN KRESS: Besides that, if
3 you did the Option 2, this would never show up as a
4 risk significant item.

5 MEMBER FORD: It wouldn't? Okay. It's
6 just that I seem to remember now the last meeting we
7 had on this subject, this very point came up. In
8 fact, you brought it up, Graham, this question of Ace
9 Hardware showing on the back of your truck and
10 bringing it in.

11 MEMBER WALLIS: Right.

12 MEMBER FORD: And I thought it was
13 rejected because it was not safety grade. That's why
14 it was not bringing it back.

15 MR. MEYER: That was not the reason.
16 We're talking about actions beyond the design basis,
17 and so there's a lot more flexibility in the kind of
18 systems that we can consider.

19 MEMBER FORD: Okay.

20 MR. MEYER: For the purposes of the
21 backfit analysis, we determined that these systems
22 could be made sufficiently reliable that they wouldn't
23 impact on the cost-benefit decision.

24 MEMBER FORD: Okay.

25 ACTING CHAIRMAN KRESS: Regardless,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they're both assumed to be on site. You don't go out
2 to the hardware and buy it when you need to --

3 MEMBER WALLIS: I think the hardware one
4 is 90 percent reliable, too. Otherwise people
5 wouldn't buy them.

6 MR. MEYER: The hardware one is --

7 MEMBER WALLIS: So it doesn't really
8 affect your cost benefit once you get up in that kind
9 of reliability range. It doesn't matter.

10 MR. MEYER: No, diesels are very reliable,
11 and the home use ones are very reliable, too.

12 In our cost analysis, we did assume on the
13 lower end of our cost analysis a \$2,000 type home use
14 type diesel generator. However, we thought that for
15 our base case it would be more appropriate to assume
16 an industrial qualified standard diesel.

17 This viewgraph displays the cost for both
18 the ice condenser and the Mark III, and these are out
19 best estimates. We'll get into the uncertainties in
20 a minute, but they're our best estimates, and I can go
21 through all of these, but you can get a pretty good
22 feel just from looking at the various options that we
23 considered that the costs for the ice condenser back-
24 up diesels range from \$200,000 to, if you include the
25 air return fans, \$590,000.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 They're a bit larger for the Mark IIIs
2 because the Mark IIIs are single unit sites and don't
3 have some of the benefits of shared costs. The PARS
4 (phonetic) are, as you can see, considerably more
5 expensive than the back-up diesel to the igniters.

6 ACTING CHAIRMAN KRESS: When you talk
7 about PARS, did you include all of the just same
8 elements that add back here on this chart,
9 installation, engineering --

10 MR. MEYER: Yes.

11 ACTING CHAIRMAN KRESS: -- materials and
12 equipment?

13 MR. MEYER: Yes. Yeah, well all of these
14 were analyzed with all of those cost elements
15 considered.

16 We performed an uncertainty analysis using
17 a Monte Carlo simulation software, and for each one of
18 those cost elements that went into the roll-up of the
19 total cost --

20 ACTING CHAIRMAN KRESS: Yeah, now on this
21 uncertainty analysis, your input was a high, most
22 likely. Now, where did you get those numbers, those
23 values?

24 MR. MEYER: Okay. Those numbers were
25 gleaned from input from staff, from the industry, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from engineering judgment.

2 ACTING CHAIRMAN KRESS: And you do a
3 triangle between --

4 MR. MEYER: We did a triangular --

5 ACTING CHAIRMAN KRESS: And then did a
6 Monte Carlo uncertainty?

7 MR. MEYER: And did a Monte Carlo
8 uncertainty analysis. Some of the industry analysis
9 actually provided a minimum, maximum costs, and their
10 best estimate costs, and we tried to use those as much
11 as possible.

12 MEMBER WALLIS: Well, for instance, you
13 have this engineering. I see you have estimate
14 engineering cost for similar modifications were
15 between 50,000 and 175,000, and you chose to use
16 50,000 for your estimate.

17 MR. MEYER: Correct.

18 MEMBER WALLIS: You have chosen the lowest
19 value of the range rather than some mean.

20 MR. MEYER: We chose -- this is for the
21 engineering?

22 MEMBER WALLIS: Yeah.

23 MR. MEYER: Yeah, we chose the 50,000.
24 The input we got that it would go as high as that 100
25 --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: One hundred seventy-five
2 thousand.

3 MR. MEYER: That number, but we were also
4 provided input that it would be as low as \$5,000. So
5 we used that as the lowest engineering number.

6 MEMBER WALLIS: It's amazing there's such
7 a range on something that --

8 MR. MEYER: It's a very large range,
9 and --

10 MEMBER WALLIS: If I were building a
11 house, I wouldn't accept bids that went from a factor
12 of ten, low, to a factor of --

13 MEMBER FORD: This is the as installed
14 cost; is that correct?

15 MR. MEYER: We're talking about the
16 engineering costs now.

17 MEMBER WALLIS: No, but even so --

18 MEMBER FORD: Well, gosh.

19 MEMBER WALLIS: -- you would think they
20 could do a much better job of estimating cost than
21 5,000 to 175,000.

22 MR. MEYER: What we wanted to do was make
23 sure that we picked up the full range, and we felt
24 comfortable with the \$50,000 as being the robust
25 value.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We did the uncertainty analysis for the
2 prestaged and the portage options, and we also did an
3 uncertainty analysis with and without accounting for
4 the air return fans.

5 MEMBER WALLIS: How do you know that these
6 guys aren't making it appear expensive because they
7 don't want to do it?

8 MR. MEYER: That was taken into
9 consideration. We were able to get information
10 independently from manufacturers. We talked to the
11 staff about their thoughts on these costs, and we
12 tried to weigh that appropriately.

13 This is the results of the uncertainty
14 analysis.

15 MEMBER WALLIS: There's another thing.
16 You said it cost you 50,000 to train people to use
17 this thing?

18 MR. MEYER: Yes. We originally had a
19 considerably lower number than that. Those are not
20 dissimilar from the assumed numbers for developing the
21 procedures and doing the training that we've seen for
22 other like fixes.

23 MEMBER WALLIS: So it's not something that
24 automatically comes on when needed so there's no
25 training required?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MEYER: Well, you need training. You
2 need to develop procedures, and you need to train the
3 staff in how to carry out those procedures in terms of
4 --

5 MEMBER WALLIS: So you don't train the
6 homeowner on his emergency diesel generator. It just
7 comes on when required.

8 MR. MEYER: No. No, it's a manual start.

9 MEMBER WALLIS: Manual start?

10 MR. MEYER: Even the current activation of
11 the igniters is manual. It's from the control room,
12 but it's a manual operation.

13 For the prestage, the differences here is
14 that it would be manual, but it would be a local start
15 at the site of the prestage diesel.

16 MEMBER WALLIS: Someone has to go to it
17 and pull a switch?

18 MR. MEYER: And, again, these are
19 assumptions that we made. An individual utility could
20 design it differently, but we had to establish a basis
21 for the cost, and this was another way to keep the
22 cost from being excessive. To have it powered from
23 the control room would be an additional cost that we
24 felt was not necessary for this application.

25 Well, here we see the results of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 uncertainty analysis, and it shows the five percent,
2 the mean, and the 95 percent values, and I think it's
3 pretty much self-explanatory as to what that is.

4 For the --

5 ACTING CHAIRMAN KRESS: Now, why isn't --
6 I see. These are the same mean and the low and high
7 that you had on the previous chart, the ones on the
8 graph. They're the same ones.

9 MR. MEYER: Yes. Yeah, well, the
10 differences between the number here and the number of
11 the graph --

12 ACTING CHAIRMAN KRESS: Yeah. Because,
13 for example, looking at the 95 percentile on this one,
14 there's 375, and on this one you have 460.

15 MR. MEYER: Yeah, the reason for the
16 difference is that this is for the dual unit sites,
17 Catawba, Cook, and McGuire.

18 ACTING CHAIRMAN KRESS: The previous chart
19 was sort of an average for --

20 MR. MEYER: Yes, it's an average. It's a
21 weighted average for all of the --

22 ACTING CHAIRMAN KRESS: I see.

23 MR. MEYER: -- for all of the ice
24 condensers.

25 MEMBER WALLIS: I'm really impressed with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the accuracy with which you predicated your mean.

2 (Laughter.)

3 MR. MEYER: You're impressed with the
4 accuracy on --

5 MEMBER WALLIS: Accuracy with which you
6 predicated the mean.

7 ACTING CHAIRMAN KRESS: He's talking
8 significant figures.

9 MR. MEYER: Oh, yeah.

10 PARTICIPANT: Go to the next slide.

11 MR. MEYER: No, you can disregard those
12 significant figures.

13 ACTING CHAIRMAN KRESS: But this just
14 reflects your triangle really.

15 MR. MEYER: Yes.

16 ACTING CHAIRMAN KRESS: Which the low was
17 this bottom one, and the high was this top one, and
18 then the mean point was in the middle.

19 MEMBER WALLIS: It looks like a Gaussian.

20 ACTING CHAIRMAN KRESS: Well, it does, but
21 it just reflects a triangular distribution of the
22 input.

23 MR. MEYER: And finally we have been
24 talking about this this afternoon. This summarizes
25 the implications of the back-up power system

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reliability on the cost-benefit assessment, and as was
2 said earlier, the benefit assessment assumes that the
3 systems are 100 percent reliable, that is, they're
4 perfect systems.

5 And obviously no system has 100 percent
6 functional reliability. So the impact of this
7 assumption on the cost-benefit assessment was
8 addressed and determined to be insignificant. Why is
9 that the case?

10 Well, our studies indicate that we feel
11 that functional reliabilities can be achieved greater
12 than 95 percent for both the portable and the
13 prestaged --

14 MEMBER WALLIS: That includes the operator
15 action?

16 MR. MEYER: Yes.

17 MEMBER WALLIS: And reliability?

18 MR. MEYER: That includes the operator
19 actions. And if that's the case, then it's not going
20 to have much impact on cost-benefit.

21 That doesn't mean it's not important in
22 other contexts, but for our purposes here, we've
23 determined that it won't have an impact on the cost-
24 benefit determination.

25 The fourth bullet points out that a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 similar back-up system has recently been evaluated
2 with the paper referenced in the footnote to have a
3 functional reliability in the range of 97 to 98
4 percent, and that's for a portable, gas powered back-
5 up system.

6 So our conclusion regarding reliability is
7 that the back-up power system functional reliabilities
8 have a negligible impact on the cost-benefit
9 assessment.

10 And also, variations in the functional
11 reliabilities between systems also have a negligible
12 impact.

13 MR. ROSENTHAL: From the presentation,
14 what I'd like you to come away with the idea is that
15 a back-up fix would be two, three, 400,000, and I
16 don't know that we know it necessarily would be
17 better. And two, three or 400,000, although it's a
18 lot of money in our normal lives, really is not a big
19 difference within the scope of the study.

20 But it does point out that if at one time
21 we were thinking of a really cheap fix because you
22 could get something off the shelf, by the time we
23 realized that you had to carry it in and have some
24 sort of procedures and put in breakers that interface
25 with safety related equipment and whatnot, you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 realized that the costs would be hundreds of
2 thousands, you know, two, three, 400,000 and not
3 2,000, 3,000 and 4,000.

4 I think that that's a lesson learned from
5 this.

6 The next thing is that we are not
7 designing a system. You have to do a conceptual
8 design and go to some catalogues and look up real
9 costs of real things in order to do some scoping
10 analysis for the purposes of coming up for the cost
11 compared to some benefits, but this is not the design
12 that a licensee would do.

13 And it's very likely that we would
14 recommend that NRR -- we would finish our work and
15 recommend that NRR take the next step and back the
16 process.

17 And in today's time, it's very likely that
18 as the agency moved forward, it would probably go to
19 some sort of functional requirements. So we're not
20 trying to pick here would it be portable or fixed or
21 welded in or whatnot, but rather, we would have some
22 sort of -- what we envision is that the agency would
23 come out with some sort of functional requirement, and
24 the implementation of that would be of the order of
25 the kinds of things that you've been presented today,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 but not specifically this fix.

2 So we don't have to worry about the
3 gruesome details.

4 Dr. Kress, we're about to take a major
5 shift now into phenomenology.

6 ACTING CHAIRMAN KRESS: Yeah, I think
7 maybe this might be a good time for a break. What
8 does everybody think? Why don't we take just a ten
9 minute break since we're running behind and come back
10 at 3:30?

11 MEMBER WALLIS: Could you tell us why we
12 need to know any more?

13 ACTING CHAIRMAN KRESS: Oh, well, there's
14 the question of

15 ACTING CHAIRMAN KRESS: We are now talking
16 about the business of hydrogen control and
17 calculations. I wonder if I could ask the presenter
18 to maybe save us a little more time and cover this
19 pretty briefly, if you could. I don't know what that
20 means.

21 MR. NOTAFRANCESCO: Yes, we'll try to do
22 that, but I just wanted to -- I took a slide out of my
23 presentation to give some background before we go into
24 MELCOR.

25 ACTING CHAIRMAN KRESS: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. NOTAFRANCESCO: The thrust of why we
2 are doing this is recent positioning by several
3 licensees that, if we provide back-up power to
4 igniters, it should also go to the air return fans.
5 So we did some MELCOR analysis, and when I get up, I
6 have done other evaluations, but I am trying to give
7 you a snapshot that we believe current evaluations
8 reveal that igniters alone are sufficient and there is
9 a downside of air return fans.

10 They would tend to melt out the ice chest
11 quicker. Plus, if one includes the air return fans in
12 the cost/benefit, the cost goes up significantly, at
13 least doubles. So that is why this is pivotal in the
14 ice condenser area.

15 ACTING CHAIRMAN KRESS: Let me ask you a
16 simple question maybe one way or the other. If you
17 didn't have igniters available, would it be important
18 then to have air return fans?

19 MR. NOTAFRANCESCO: If I didn't have
20 igniters? Air return fans alone?

21 ACTING CHAIRMAN KRESS: Yes. I mean, what
22 you do, would you still mix up the hydrogen and air
23 with just natural convection processes? It is going
24 to reach detonation then. Mixed, it is going to reach
25 detonation composition, but the question is, would it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be early in one spot due to stratification and likely
2 be in a location where the shockwave would tell
3 containment or would it be all mixed up and occur
4 randomly in locations whether or not the igniters or
5 it might be random igniters?

6 The question is, would it be important to
7 have air return fans even if you didn't have igniters
8 or if the igniters failed for some reason?

9 MR. NOTAFRANCESCO: Well, anything is
10 better than nothing.

11 ACTING CHAIRMAN KRESS: I guess it is
12 really a non-question.

13 MR. NOTAFRANCESCO: Anything is better
14 than nothing.

15 ACTING CHAIRMAN KRESS: Yes.

16 MR. NOTAFRANCESCO: Maybe the air return
17 fans could induce some random ignition, too. I just
18 think we want to take the position of optimizing the
19 configuration the best --

20 ACTING CHAIRMAN KRESS: Yes.

21 MR. NOTAFRANCESCO: -- have a potential
22 backfit. That is what matters.

23 MR. TILLS: My name is Jack Tills. I
24 served as a contractor on this project to Sandia
25 Laboratories for the purpose of doing the containment

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 portion of the analysis.

2 Most of my time is spent as a consultant
3 to the NRC, basically, for the purposes of looking at
4 codes like lump parameter CONTAIN code, and that has
5 been for assessment purposes primarily. That means
6 that most of my time is spent in looking at
7 experiments versus lump parameter results, both
8 thermal-hydraulics and the hydrogen.

9 I have also sat on the boards of
10 international writing groups where people that have
11 represented the CFD codes have been present, and so
12 have some understanding of where the CFD people come
13 in line. So I have an understanding at least of some
14 of the issues.

15 I first wanted to talk a little bit,
16 before we get too far into this, about expectations.
17 The intent of these calculations were primarily
18 scoping in nature. We weren't reopening issues of
19 severe accident to look at absolute certainties or
20 accuracies of hydrogen distribution within the ice
21 condenser-type deal.

22 We had a number of options to look at:
23 power to igniters, power to igniters and fans, or
24 nothing. We looked in a comparative sense, a relative
25 sense, to what that means in terms of the response of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the containment.

2 We have done experimental analysis or
3 experimental assessment of lump parameter codes for
4 ice condensers, but it is mainly for DBA, in other
5 words, strong sources for short periods of time, and
6 not for hydrogen. The data that has been gathered for
7 ice condensers reflect that. There is not any
8 concentration data in ice condensers that have been
9 measured to allow you to do an accurate validation.

10 So I just wanted to mention that because
11 I know there was a concern of the Committee about lump
12 parameter. I will discuss some of those issues, but
13 it is going to be more from the scoping analysis as
14 opposed to being a detailed analysis.

15 However, we did follow all of what we
16 consider reasonable guidelines for applying the lump
17 parameter analysis to this ice condenser.

18 MEMBER WALLIS: Does this change any of
19 the conclusions we heard earlier? We were given some
20 estimates of benefits, and so on. How does your work
21 fit in with that?

22 MR. TILLS: Well, you notice that in one
23 of the slides at the beginning the assumption was that
24 the hydrogen control was 100 percent effective. Once
25 that statement is made, anything that I do, basically,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 doesn't have any bearing unless it indicates or shows
2 that there is a major difference between that
3 statement and what actually could occur type deal. So
4 that would be one point.

5 The other point is that the discussion in
6 terms of whether or not you are going to apply power
7 to igniters or fans, if there was a major benefit
8 phenomenologically in terms of concentrations in the
9 containment that might lead you to expect a worse
10 condition, then that may, you know, it has a
11 possibility of overriding the decision that would be
12 made.

13 There was a number of issues that were
14 addressed. The first one I have already really talked
15 about a little bit about the --

16 ACTING CHAIRMAN KRESS: You didn't use the
17 MELCOR hydrogen generation capability? You just used
18 this containment?

19 MR. TILLS: No.

20 ACTING CHAIRMAN KRESS: Is that what
21 that --

22 MR. TILLS: No.

23 ACTING CHAIRMAN KRESS: That is not what
24 that first bullet means?

25 MR. TILLS: No, the first bullet means

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that the multicell analysis was done using the MELCOR
2 code for the containment. Now the MELCOR code was
3 also used for the primary system to generate the
4 hydrogen sources.

5 One of the things that is different a
6 little bit in this analysis than previously had been
7 done in, say, CONTAIN analyses or other analyses that
8 were done earlier was the disconnect that appeared
9 when you had SCDAP RELAP people providing input that
10 may have not been sequenced correctly for the event
11 that you are looking at and putting it into a code
12 like CONTAIN, for instance.

13 In this case we had similar --

14 ACTING CHAIRMAN KRESS: This is a
15 completely integrated analysis.

16 MR. TILLS: -- integrated-type deal.
17 Although we used the sources that were generated by
18 the MELCOR code in a separate fashion, in other words,
19 we decoupled it for the purposes of doing this
20 analysis because we wanted to look at a large number
21 of uncertainties and do a similar uncertainty study of
22 the containment, and the MELCOR code calculations
23 take, you know, two to three days to complete a
24 calculation on a workstation. These containment
25 calculations take about an hour to do. So that is how

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it was done.

2 But the sequencing of the sources was
3 important. MELCOR was used in the primary side to
4 generate uncertainties in the sources. So one of the
5 issues was to select representative sequences of
6 injections that were either high or low in terms of
7 what the injection total was to the containment as
8 well as the actual signature that would drive the
9 worse condition in the containment.

10 The other bullet, the third bullet here,
11 that talks about relative comparisons, that is what I
12 just mentioned in terms of how the scoping analysis
13 was done to look at three different possibilities of
14 either no power or power to various control areas.

15 The final bullet was an uncertainty
16 analysis that was done primarily just for the
17 containment. This was really for the burn parameters
18 associated with deflagrations, propagation,
19 initiations, and an inertian. Then there was some
20 uncertainty or sensitivity analysis that was done on
21 the modeling, the containment, what paths might be
22 open and what might be closed.

23 I will go quite quickly through the next
24 three slides here. This is just a sketch of what the
25 ice condenser looks like as it nodalized. There was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a total of 26 cells nodalized in the containment.
2 Most of the time we follow the general rule, which is
3 you use a lump parameter or you use one node per room
4 and you try to minimize the number of nodes that you
5 might have in open regions that might have
6 circulation.

7 ACTING CHAIRMAN KRESS: And you used
8 Sequoyah for --

9 MR. TILLS: This is Sequoyah.

10 ACTING CHAIRMAN KRESS: You figured it
11 would be representative of the other ice condensers?

12 MR. TILLS: Right.

13 ACTING CHAIRMAN KRESS: There's not that
14 much difference in their margin --

15 MR. TILLS: No, there is not. The lower
16 part of a containment, where there was sources
17 injected -- this slide just kind of indicates that we
18 did take knowledge of where the sources were going to
19 be injected in the containment, because this is not
20 going to be a symmetric-type source that is going to
21 feed the ice chest. It is very non-symmetric because
22 of the offset of the pumps and the hot legs, and so
23 forth.

24 The next slide just shows the ice chest as
25 it is nodalized. Because of the asymmetric sources,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to try to capture some of that in the analysis, four
2 asymmetric cells were included for the ice bed. There
3 was not any vertical stratification for those ice beds
4 used.

5 The reason is a number of reasons. One is
6 that this is an accident where there are sources
7 continually going into the ice chest throughout the
8 scenario. This is a pump seal failure event. So we
9 still have sizable sources going into the ice chest
10 which are, as I mentioned, asymmetric.

11 In addition, there is a substantial amount
12 of ice melt during this period of time. Somewhere
13 between 40 and 60 percent ice melt, depending on
14 whether or not you have fans on or not, occurs. That
15 amount of ice melt with that amount of water falling
16 down creates its own turbulence.

17 Second of all or third of all, I should
18 say, in an ice chest environment it is almost
19 impossible to get a situation of no mixing because the
20 gases come in; they rise just because of the momentum
21 of carrying them in; they cool off; they're stripped
22 of steam; they become heavier. As they become
23 heavier, they circulate back down and then are
24 disturbed again by the source that is coming up
25 through them.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So there's a number of reasons for that.
2 The fourth reason would be relationship to if you are
3 doing burns in an ice chest. Most or practically all
4 our correlations are based on single-compartment or
5 single-room propagation correlations. There is no
6 correlations that have been developed to put in this
7 code, the MELCOR code, to treat a series of cells that
8 are linked together. So from consistency reasons,
9 that seems to be appropriate to nodalize like this.

10 Now to address other situations, though,
11 we did do sensitivities. We did stacked cells with no
12 mixing. We did look at nodalizing this configuration
13 with stacked cells, so that there was a number of
14 cells in the ice condenser and our best estimate as to
15 what the circulation would be. We did not get, we
16 could not maintain any sizable density profile or
17 concentration profile in the ice chest. So that just
18 gives you a little background of what the nodalization
19 is, used and picked.

20 The next slide goes on to the
21 uncertainties of the source terms that were put in
22 there. I mentioned that we picked representative
23 source terms that came out of the MELCOR RCS analysis.

24 What is shown up here in the dark lines
25 are the three representative curves that we picked.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now the failure of the containment, actually the early
2 failure, comes anywhere between six to seven hours.
3 Now this is either by a hot leg or by a vessel head
4 failure.

5 We are only going to do the analysis -- I
6 won't even show you the analysis today of just the
7 early failure because that is what they were mostly
8 concerned with, was early failure. So this is an
9 analysis up to and including RCS pressure boundary
10 failure, either by a hot leg or a vessel breach.

11 The variation in here is about 15 or 16
12 plus or minus percent with total injection hydrogen.
13 The average is about 450 kilograms. So it ranges plus
14 or minus 16 percent.

15 The curve in the dark line is what I used
16 as a reference injection because it gave the highest
17 rate of injection of hydrogen at the time when the
18 actual pump seals were considered to fail. So you
19 will see that as a reference case. But the other
20 cases, I will show one case which is the low case, to
21 give you an idea of what the variation might be and
22 the sensitivity.

23 The next table just outlines the important
24 parameters of those three runs, both in terms of when
25 the pressure, the RCS failed, either by lowering

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 another hot leg and then how much relative hydrogen
2 was generated in-core and where that injection came
3 from in terms of the containment. You see that most
4 all of the injection comes out through the pump seals
5 in these three cases.

6 That was the case for, I think, all the
7 cases. Of the 40 runs that were made by Sandia, and
8 this was 40 runs made to do a Latin Hypercube
9 analysis, all of the failures were either hot leg or
10 lower head failure.

11 The next slide gives you a little bit of
12 a picture of what those sources look like. What is
13 shown here is a rate profile of hydrogen that comes
14 into the containment through the pump seals. You can
15 see that the rates are a few tenths of a percent when
16 the seals start to deteriorate and fail and then drop
17 off after that period of time.

18 So the critical point of time to do the
19 analysis here is that period of time when you are
20 between three-and-a-half and four hours for this
21 scenario, and you know that it is going to probably be
22 a fairly small spike increase in hydrogen.

23 The next slide is just for information.
24 It just shows the default ignition levels that were
25 used, the propagation levels that were used, as the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 default in the MELCOR code. These were then varied
2 later, and then uncertainties, you started to see what
3 sort of nonlinear effects would be picked up in the
4 uncertainty study.

5 The igniter locations are shown based on
6 general locations. You will notice that there are
7 igniters practically everywhere in the containment
8 except in the lower plenum of the ice chest and in the
9 ice chest proper.

10 ACTING CHAIRMAN KRESS: Now when you do
11 such an analysis like this, you look to see where
12 these ignition limits are reached first and then you
13 say that's where the ignition starts?

14 MR. TILLS: Yes, and so the code, I mean
15 the code doesn't predict these. The code just uses
16 them as its input. So it's input based on
17 experiments --

18 ACTING CHAIRMAN KRESS: Yes, these limits
19 are just input?

20 MR. TILLS: That's right.

21 ACTING CHAIRMAN KRESS: But the code
22 calculates?

23 MR. TILLS: They do. That's right.

24 ACTING CHAIRMAN KRESS: Where the limits
25 are reached, then that's where the ignition starts.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TILLS: That's right, it burns.
2 That's right, and then it looks at adjoining cells to
3 see what the condition is there. If the condition is
4 right, it propagates --

5 ACTING CHAIRMAN KRESS: It propagates --

6 MR. TILLS: -- based on an algorithm that
7 has been checked with experiments.

8 To give you just a baseline of what we are
9 looking at in terms of pressure, if there is no power
10 to the igniters in a station blackout, what is
11 calculated here is for that reference case of Run No.
12 21, which was that high-injection case. What you are
13 looking at is a pressure profile where at the time of
14 vessel breach we assume that we can have deflagration,
15 based on these limits.

16 So at the time, basically, the code was
17 precluded from doing any burn, and we accumulated
18 hydrogen as it would mix it and turn it around in the
19 containment. Then at the time of vessel breach, when
20 we had the hot material coming out, we assumed that we
21 had ignition right there.

22 ACTING CHAIRMAN KRESS: This is like the
23 case where you have igniters?

24 MR. TILLS: No igniters. If you didn't do
25 anything, this is the best estimate of what would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 happen.

2 ACTING CHAIRMAN KRESS: This 10 percent
3 containment probability failure, that is the fragility
4 curve?

5 MR. TILLS: That's right.

6 ACTING CHAIRMAN KRESS: That's the 10
7 percent formula?

8 MR. TILLS: Right, and actually the
9 fragility curve that we looked at for seven
10 atmospheres would almost be a 95 percent failure. So,
11 I mean, it is a very steep curve. I just show it as
12 10 percent, but really here we are looking at about a
13 95 percent failure rate.

14 MEMBER WALLIS: I'm surprised it is so
15 steep, but I guess it is.

16 MR. ROSENTHAL: Jack, we brought up this
17 static or dynamic. Do you just want to flip back to
18 the slide to answer Professor Wallis' question?

19 We are looking at a hydrogen burn on a
20 scale of hours. So, in fact, that is a quasi-static.

21 ACTING CHAIRMAN KRESS: I see.

22 MR. TILLS: One of the things in doing
23 this comparative analysis is to look at different
24 regions in the containment where we predict the
25 hydrogen concentration.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 This is just showing you a comparative
2 prediction in the upper containment. Now this is a
3 critical area where you want to burn out hydrogen
4 before you get into the upper containment.

5 The top curve in red is showing you that
6 that curve is in the neighborhood of 14 percent, which
7 is a bad news type of concentration. But what is
8 interesting in this slide is the relative
9 insensitivity of two different options of being power
10 to the igniters or power to the igniters and fans.
11 The fans bring you up a little bit quicker, but as
12 long as the igniters are operating, there isn't much
13 sensitivity in the upper containment. Now that gets
14 a little bit more dicey as you move into other regions
15 that are more difficult to calculate.

16 This next slide is showing you
17 concentrations in the ice condenser. You remember
18 there was this large injection right at the time of
19 pump seal, and that is what you are seeing here, is a
20 fairly large increase in the concentration of hydrogen
21 as you are in the ice condenser.

22 This is without any power to the igniter.
23 So this is, again, a baseline type of a calculation,
24 so the worse condition occurring just after you have
25 that pump seal break.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ACTING CHAIRMAN KRESS: Now you've deduced
2 that, although these are very high concentrations,
3 that this did not get into a detonable configuration?

4 MR. TILLS: Well, the case without power
5 on that previous slide here --

6 ACTING CHAIRMAN KRESS: This is without
7 power, too? Okay.

8 MR. TILLS: Without power, you are again
9 in a detonable-type situation in most cases.

10 Although I think Allen is going to talk a
11 little bit about combustion, obviously, you know,
12 there's a lot of uncertainties with detonation and
13 transitions, and the ice condenser is a pretty
14 complicated deal. There is some information that
15 Allen is going to share with you on that, but to say
16 that we are in a detonable deal is also very
17 uncertain.

18 The next curve, figure, here is just
19 showing you what happens in the case when you just
20 have power to igniters. Now the propagation limit,
21 you know, there's no igniters in the ice chest. What
22 you are seeing is the maximum concentration of
23 hydrogen getting up to almost 9 percent. That 9
24 percent is the propagation limit for propagating down
25 from the upper plenum region when you have ignited up

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there and you burn down.

2 Now we could have done continuous burning,
3 but we decided to just do deflagration-type burning
4 because that would give us a higher spiking in terms
5 of what the hydrogen might get to, rather than
6 continuously starting to burn and letting it burn all
7 the way out.

8 ACTING CHAIRMAN KRESS: What are the
9 different curves?

10 MR. TILLS: The different curves are the
11 different -- there's four cells in the ice condenser,
12 four asymmetric cells. What you are seeing in the
13 variation is the slight variation in the
14 concentrations as a result of the source asymmetric
15 behavior.

16 ACTING CHAIRMAN KRESS: So what is
17 happening here is you build up to this downward
18 propagation --

19 MR. TILLS: Right.

20 ACTING CHAIRMAN KRESS: -- and that's
21 already ignited?

22 MR. TILLS: That's right, it is already
23 ignited at the top.

24 ACTING CHAIRMAN KRESS: And it burns down,
25 and then you've got to build up the concentration, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 then it burns down --

2 MR. TILLS: That's right. That's right.

3 Now you can compare that to another case
4 that was run where power was put to both igniters and
5 fans. In this case the concentration in the ice bed
6 is dropped. The reason is because now, once you have
7 the fans on, the burn behavior in containment is more
8 characterized as being generated or burned out by
9 areas where there are igniters, because now you have
10 put in more oxygen. You have taken the steam
11 concentration down. So most of the burn is going to
12 occur where there is an igniter, as opposed to
13 propagating. So now the concentrations go down. So
14 this is kind of a reasonable thing that you would
15 expect.

16 But the difference between the other one
17 and this one going from 9 percent to 6 percent is
18 totally controlled by the input that you put in the
19 code. The next table just kind of emphasizes that,
20 and it shows the total amount of hydrogen burned in
21 different regions of the containment up to the time of
22 vessel failure.

23 The one thing that is interesting about
24 this, and what was pursued as a result of this type of
25 an analysis, was that there's a large amount of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 hydrogen being burned in the lower compartment. Now
2 most people in the past have questioned how much
3 hydrogen would burn in an area where you have injected
4 a large amount of steam. You have evacuated a portion
5 of it, of oxygen, during the accident. And, also, if
6 you had a burn, you exhausted a number of moles of
7 oxygen as a result. So you would starve off any
8 continued operation of the igniters.

9 So we looked at what was really occurring
10 here. I will talk about that in the next slide or
11 two.

12 The next slide just shows you a
13 sensitivity based on those injected variations that we
14 received from the hydrogen RCS calculations. Run No.
15 35 was the low injection rate curve on that figure
16 that showed 21 through 40 at --

17 ACTING CHAIRMAN KRESS: Where you had
18 those three curves?

19 MR. TILLS: That's right, three curves,
20 and this is the low one, which has the lowest
21 injection rate. It was about 400-and-some kilograms.

22 Again, when you first inject, it looks
23 just about like the other one because most of the
24 falloff in the total amount of injection occurred
25 after the initial burst of hydrogen in the containment

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 when the pumps had failed. So you see a very similar
2 behavior.

3 So one of the conclusions out of this is
4 that, basically, the source uncertainty that is
5 generated by the primary code is not propagated in the
6 same fashion in terms of uncertainty in what the
7 containment, how the containment responds. Because
8 once you've got the igniters going, you'll burn
9 irrespective.

10 The question of how much hydrogen burns
11 out, depending on how you model circulation in the ice
12 condenser, was a concern based on what we were seeing
13 in terms of how much was burning out in the lower
14 compartments. Now normally, as I mentioned, you would
15 be starved by oxygen in the lower compartments.

16 However, for the ice condenser, there is
17 a fairly well-defined refueling canal or drains that
18 in a station blackout we would normally expect to be
19 open, because they are not flooded by sprays. So that
20 path in the previous calculations was open. As a
21 result, there is a growth circulatory behavior that
22 occurs during the accident, bringing in oxygen into
23 the lower compartments.

24 To look at the sensitivity of that, we
25 went ahead and shut those paths off. So what you are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 seeing in this table here on slide No. 17 is the
2 comparison again with igniters, power to igniters, and
3 igniters to fans, assuming that there is no
4 circulation that is coming back down from the upper
5 containment through the refueling drains.

6 What happens is that, when you only have
7 the igniters on in this case, it cuts the amount of
8 hydrogen being burned there by almost about half. So
9 it is a very significant amount.

10 You are still getting some burn because,
11 first of all, there was some initial hydrogen or
12 oxygen in there when you started the burn, but also it
13 is very hard to seal these doors on the ice chest. So
14 there is some circulation that is going on because of
15 the dynamic behavior of the doors.

16 Again, these are scoping calculations, but
17 it just kind of gives you --

18 MEMBER WALLIS: Does it matter where it is
19 burned?

20 MR. TILLS: Well, one of the concerns was
21 that, if you don't burn in the lower compartment, it
22 shifts where you are going to burn to only two places
23 after that: the ice chest or the upper plenum
24 primarily, where the hydrogen is going to come
25 through.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 As a result of that, you get higher
2 concentrations in the ice chest potentially, because
3 you are feeding it without having the benefit of
4 burning some of that hydrogen before it has gotten
5 into the ice chest.

6 MEMBER WALLIS: But what is the
7 consequence that matters?

8 MR. TILLS: Well, it was primarily just
9 the consequence of being concerned that --

10 ACTING CHAIRMAN KRESS: It was a
11 perception if you got a lot higher concentrations you
12 could detonate --

13 MR. TILLS: That's right. That's right.

14 MEMBER WALLIS: So you're trying to avoid
15 detonation?

16 MR. TILLS: Right.

17 MEMBER WALLIS: But you are saying here it
18 burns anyway?

19 ACTING CHAIRMAN KRESS: Right.

20 MR. TILLS: The other concern that we had
21 when we were looking at different options like the
22 fans, for instance, was if you provide power to the
23 fans, what are you going to do to the ice melt? You
24 are going to increase the ice melt. Is it going to be
25 significant, enough significant that you may

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 jeopardize later some analysis that would occur for
2 late accident behavior?

3 ACTING CHAIRMAN KRESS: Now you burn less
4 in the ice compartment itself, but more in the lower
5 compartment? Is that where the ice melt comes from,
6 because you are burning more in the lower compartment?

7 MR. TILLS: Well, I mean, both because of
8 the energy, just of the thermal-hydraulic energy of
9 the source of the steam going through there, it is a
10 melting-off-the-ice-type deal. I did not do the
11 partitioning of how much is affected by the burning-
12 type deal, except, as you will see here, that there is
13 a sensitivity --

14 ACTING CHAIRMAN KRESS: This just comes
15 right out of the MELCOR calculation is what you're
16 saying?

17 MR. TILLS: That's right. But what is
18 shown here is that there is some sensitivity,
19 obviously, to having the fans on or not having the
20 fans on. Something like about 30 percent more ice is
21 taken out at the time of vessel breach.

22 MEMBER WALLIS: So that would reduce the
23 pressure?

24 MR. TILLS: The pressure is pretty much a
25 no -- you know, it doesn't matter here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: It doesn't matter?

2 MR. TILLS: If the thing is operating as
3 an ice condenser --

4 MEMBER WALLIS: It would condense more
5 steam?

6 MR. TILLS: It is condensing more steam
7 and it is melting more out.

8 MEMBER WALLIS: You would think the
9 pressure would go down.

10 MR. TILLS: It does go down, but it is not
11 a significant --

12 MEMBER WALLIS: It is not significant?

13 MR. TILLS: It is not significant.

14 The other interesting thing here, as you
15 mentioned, in terms of burn-type deal, the actual
16 injection, just due to the sensitivity of the sources
17 here, gave you almost the same type of uncertainty or
18 sensitivity as whether or not you had the fans on.

19 MEMBER FORD: Could I just ask a question?
20 All the conclusions you have made so far assume that
21 MELCOR is correct within the certainties that you are
22 talking about, the ranges that you are talking about
23 there. We are quite sure that MELCOR is correct
24 against data?

25 MR. TILLS: When you say, "against data,"

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the problem is we don't have data really that would
2 allow one to make a definitive statement on something
3 like concentration on the ice chest of hydrogen.
4 However, in terms of thermal-hydraulics, when we were
5 doing the analysis of CONTAIN, which is basically a
6 sister code of MELCOR in terms of the lump parameter
7 containment models, we did analysis of ice melt based
8 on the experiments that were conducted by
9 Westinghouse.

10 We did them both in short term -- this is
11 during the blowdown -- but we also did, they had a few
12 tests that were done long term, hours, where we did
13 complete meltout of the ice in the ice chest. In both
14 the short term and the late time, we did very good ice
15 melt calculations. We also matched pressures very
16 well.

17 Now the ice melt gives you a pretty
18 general idea of how well you are doing hydraulically
19 in terms of taking the ice out. The pressures also
20 give you a pretty good idea of how well you are doing
21 in terms of modeling the mixing that is going on in
22 that compartment-type deal. Because if it would not
23 have mixed, you would get excursions in the pressures
24 typically.

25 So there is some data. Has MELCOR been

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 validated directly with ice, new condenser
2 experiments? No, not directly. I mean in terms of
3 this type of detail of concentration.

4 MEMBER FORD: So it is almost, I was going
5 to say, "engineering judgment," but that's not true.
6 You mentioned a few tests.

7 MR. TILLS: It is better than engineering
8 judgment, and it is based on thermal-hydraulic
9 calculations that we have no reason to believe that
10 there is anything occurring here that would invalidate
11 completely this for a comparative purpose, scoping-
12 type purpose.

13 Obviously, if we were going to do
14 something more detailed in terms of absolute numbers-
15 type deal, we would approach this completely
16 different. There may be additional experiments we
17 either would want to have conducted or seek out more
18 detail.

19 But, again, I just wanted to kind of
20 mention that upfront in the presentation to just kind
21 of sensitize you to that, that this is scoping and it
22 gives you kind of a general idea.

23 I feel pretty good about the ice melt
24 calculations. I think most people would, when they
25 look at what the utilities have done -- and I haven't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 got those results with me -- type deal, but this is
2 well in line with what most people think how the ice
3 would melt out.

4 MEMBER FORD: So the best thing you could
5 say is that the trends are correct?

6 MR. TILLS: Yes.

7 MEMBER FORD: But the absolute values may
8 be questionable?

9 MR. TILLS: That's correct.

10 MEMBER FORD: Okay.

11 MR. TILLS: There was some interest to do
12 uncertainties of the containment analysis, and one of
13 the areas, of course, was the parameters that initiate
14 the burns and the propagation. There's a number of
15 ways of approaching the uncertainty.

16 One would be to look at the analysis and
17 try to pick the worse case and the best case in terms
18 of these parameters, but that is almost impossible
19 when you have something this complicated, where you
20 have burns occurring in all different types of
21 compartments and propagation conditions changing. So
22 the only thing that made reasonable sense was to go
23 ahead and do a Monte Carlo calculation where all the
24 parameters were varied randomly, and then you did a
25 statistical analysis. So that was what was done for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the MELCOR and the containment part of it.

2 In this case, a direct statistical
3 analysis was made, varying the ignition limits, and
4 propagation is shown in terms of low and high. These,
5 again, were just -- I won't say they were pulled out
6 of the air, but they were just kind of best estimates
7 as to what those variations would be.

8 The main interest here was to see whether
9 or not there were strong nonlinearities that were
10 occurring as you varied these parameters over
11 reasonable ranges. A hundred calculations were run to
12 give a two-sided tolerance band of 95 percent
13 confidence and 95 percent probability.

14 So the results that are shown here look at
15 the two critical regions for early failure. One is
16 the period of time where the pump seal is occurring --

17 MEMBER WALLIS: What do you mean by "two-
18 sided"?

19 MR. TILLS: "Two-sided" meaning we were
20 looking at minimum and the maximum --

21 MEMBER WALLIS: The minimum and the
22 maximum.

23 MR. TILLS: -- of the hydrogen
24 concentration, and we were trying to find what that
25 bounce was.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So the first column gives you that period
2 of time when the pumps are failing, seals, and the
3 last column is just before vessel breach.

4 The biggest uncertainty here, obviously,
5 which we expect, occurs in the ice bed because of its
6 being affected by propagation. So you see about a 5
7 percent variation in hydrogen concentration for a case
8 when you had the igniters on, as a result of varying
9 those parameters.

10 MEMBER WALLIS: Are these percents or
11 percents of --

12 MR. TILLS: That is a percent of
13 hydrogen --

14 MEMBER WALLIS: -- by mole?

15 MR. TILLS: -- by mole.

16 The other thing that you can do, of
17 course, with a sensitivity calculation like this is
18 try to identify what is the dominating parameter.

19 The next slide is just showing you how
20 that was done for these calculations. One has a
21 hundred calculations; you like to draw as much data or
22 as much information out of these calculations. One
23 way of doing it is calculating rank coefficients that
24 look at basically the importance of each of the
25 parameters for a certain criteria that you select. In

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this case it was the uncertainty range that was being
2 predicted in the previous slide.

3 I don't want to go through this in too
4 much detail except to indicate that, obviously, things
5 that you expected came up fairly strong. Now the rank
6 coefficients mean that they vary between minus 1 and
7 1. As you get higher to 1, that means almost a
8 perfect correlation. As you go lower, the correlation
9 gets worse.

10 For a 95 percent confidence in this being
11 an important parameter, for a hundred runs the rank
12 coefficient would have to be .2. In other words,
13 anything .2 or greater, you begin to see a
14 correlation. Anything lower than .2, you probably
15 don't have a correlation and the information is not of
16 value.

17 So one of the things that is seen here is
18 that there is an importance -- well, the other thing
19 in terms of the sign of the correlation or the sign of
20 the coefficient, if you are positive, that means that
21 varying that parameter in a positive way has a
22 positive increase in the negative. So you just get
23 kind of a general idea what is dominating the
24 calculation.

25 MEMBER WALLIS: Of course, the important

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 thing is this last slide you are getting to that we
2 can take away as a message?

3 MR. TILLS: There were conclusions out of
4 this. The first one, obviously, was from that slide
5 that showed that, if you don't have any power, you're
6 in trouble.

7 The other one was that, whether or not you
8 have igniters powered or igniters and fans, you also
9 have an effective control mechanism. So there was no
10 "gotcha's," and that is what we were kind of looking
11 for here.

12 MEMBER WALLIS: So there was no incentive
13 to insist on having fans running?

14 MR. TILLS: Fans, that's right.

15 The only caveat on that is, obviously,
16 those fans provide you with more uniform burning, as
17 you would expect. So the burning occurs more where
18 the igniters are.

19 There is a more rapid depletion of ice,
20 and that is kind of indicated here. The hydrogen
21 source term that we received from the RCS code did not
22 propagate to give us large uncertainties in the
23 containment calculations.

24 Circulation of the upper air through the
25 refueling drains is a significant issue if it is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 considered that there is some uncertainty in that
2 input. It is our belief that there probably is not
3 any uncertainty in that input for a station blackout.
4 The statistical uncertainty analysis indicated that
5 there is a range of something like 5 percent over this
6 calculation in the ice condenser, ice bed.

7 So that, basically, was I think what --

8 MEMBER WALLIS: That is a high number for
9 hydrogen concentration.

10 MR. TILLS: It is getting to be a high
11 number, right. I think it is approaching a high
12 number.

13 MEMBER WALLIS: Isn't 14.7 percent already
14 too high?

15 MR. TILLS: You know, the question of ice
16 condenser loading as a result of either burn, rapid
17 burning, or detonation is something we asked a number
18 of people to provide input, and most of them declined,
19 partially because it was a very difficult thing to try
20 to analyze.

21 MEMBER WALLIS: You are trying to get
22 detonation in a foggy, rainy atmosphere.

23 MR. TILLS: That's right. Allen will talk
24 a little bit, I think he prepared a little bit, on
25 what the consensus was when this was looked at in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 early eighties. These results in terms of
2 concentrations are not much different than what those
3 people had to --

4 MEMBER WALLIS: Has anyone tried to burn
5 hydrogen in this sort of an atmosphere that you get in
6 the condenser?

7 MR. TILLS: I don't know. Charlie?

8 MR. ADLER: Not precisely this kind of
9 atmosphere, but we tried to initiate combustion of
10 mixtures in a condensing steam environment, where the
11 steam was condensing and it formed nucleation sites,
12 bulk condensation. It is quite difficult to get it
13 started if there are one- and two-micron-sized
14 droplets because they won't evaporate in a flame
15 front, which raises the local steam concentration,
16 which serves to quench.

17 So that is a dampening effect on the
18 flammability of these mixtures, even at the relatively
19 high concentration. That is a big heat sink that is
20 also trying to decelerate any kind of combustion
21 process.

22 MR. TILLS: I think most people don't
23 realize what the conditions are when you try to melt
24 out half of the ice within a few hours. I mean it is
25 a tremendous amount of materials draining down.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: You also get a fog, don't
2 you? It is not just rain? You get a fog?

3 MR. ADLER: You would have fog, in
4 addition to the bigger droplets of drippings.

5 MR. NOTAFRANCESCO: Okay. What Jack
6 presented was an updated evaluation to MELCOR. The
7 thrust of my presentation is to go back possibly over
8 the past 20 years and see how air return fans fit in
9 this type of issue, whether it was required or is this
10 a recent event.

11 This one we have seen already. It is the
12 background.

13 What I wanted to bring up was some
14 perspectives. We are dealing with low-event
15 frequencies, and we are trying to look at a cost-
16 effective configuration. So we are trying to look at
17 performance and cost. Therefore, we are within the
18 framework of a best estimate approach. We are using
19 best engineering judgment and reasonable assurance as
20 standards.

21 The ice condenser design attributes, the
22 air return fans are part of the original design of the
23 plant. The intent is to move upper compartment air to
24 the lower compartment. There are containment sprays
25 in the upper compartment, and the ice chest --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: So the purpose of these
2 fans was to make the ice condensers more effective by
3 circulating the environment through them or something?

4 MR. NOTAFRANCESCO: Correct. Promote
5 condensation and DBA issues related to the --

6 MEMBER WALLIS: Which is to reduce the
7 pressure?

8 MR. NOTAFRANCESCO: Correct, and move some
9 hydrogen due to DBA hydrogen control which is --

10 MEMBER WALLIS: It is really the steam
11 control that they are for, isn't it? The original
12 basis was --

13 MR. NOTAFRANCESCO: That's right.

14 Here's an ice chest, just to give some --

15 MEMBER WALLIS: Don't these ice arrays
16 evolve with time?

17 MR. NOTAFRANCESCO: They do.

18 MR. TILLS: They change their geometry in
19 that they're not just nice ice cubes for years?

20 MR. TILLS: They are biscuits with flakes
21 of ice in it.

22 MEMBER WALLIS: And all kinds of stuff?

23 MR. TILLS: Yes, it is a very difficult
24 thing to characterize. That is why Westinghouse ran
25 experiments that were essentially full-scale

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 experiments with dimensional, flowing through the ice,
2 to get an idea of the heat transfer coefficients, and
3 so forth.

4 MR. NOTAFRANCESCO: Okay, the cross-
5 section of an ice condenser. Slide 6, again, post-TMI
6 requirements in which the ice condensers were
7 retrofitted with AC-powered igniters had to deal with
8 75 percent metal-water reaction for postulated
9 degraded core accidents.

10 There are, as discussed, separate igniter
11 units except in the ice chest and lower plenum,
12 igniters to burn lean mixtures, maintain containment
13 integrity, and TMI sequences that were analyzed
14 assumed air return fans and containment sprays
15 available.

16 In my review of the past history, I looked
17 at some post-TMI assessments, staff SERs, treatment of
18 the igniters and their return fans and IPE. I looked
19 at relevant experiments, and we did this recent plant
20 analysis with MELCOR.

21 MEMBER WALLIS: Now this SBO frequency is
22 dependent on the reliability of your diesels, isn't
23 it?

24 MR. NOTAFRANCESCO: Right.

25 MEMBER WALLIS: Wouldn't it be possible to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 spend another \$100,000 on diesel reliability and
2 reduce that number?

3 ACTING CHAIRMAN KRESS: Some of them are
4 already at 99 percent.

5 MEMBER WALLIS: Some are at 99?

6 ACTING CHAIRMAN KRESS: From 95 to 99,
7 depending on the plant.

8 MEMBER WALLIS: It will make a difference
9 if you go from 95 to 99.

10 MR. ROSENTHAL: Pat Baranowsky did a five-
11 year study of diesel reliability at real plants. He
12 found that these were the reliabilities you have, .96.
13 What he found was that those diesels that were
14 promised to be .95 were about .96 and those diesels
15 that were promised to be about .975 were also .96.

16 (Laughter.)

17 He was at AOD at the time. That study was
18 subsequently redone about five years later because he
19 had more data; he was facing updates. He found that
20 the reliability was .96 again for the fleet of
21 diesels.

22 It is really hard to make a .96 diesel
23 into .99 diesel when it is the same --

24 MEMBER WALLIS: Well, it is hard to test
25 it up to .99. In fact, it is hard to get a failure if

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it is .99.

2 MR. ROSENTHAL: Well, he had reasonably
3 low data density because what he was trying to do was
4 look for real on-demand failures where in the middle
5 of the night some bus went dead for some reason and he
6 had a legitimate, honest load. Then he added in the
7 data from normal starts.

8 But my point is that you are not changing
9 the essential design. So you essentially have a .96
10 diesel.

11 MEMBER WALLIS: But you're just working
12 with that little bit of percent where it doesn't work;
13 you're trying to alleviate. If you know why it
14 doesn't work, maybe you could improve that more than
15 doing this kind of stuff.

16 MR. NOTAFRANCESCO: Remember these are low
17 frequencies when you add them all up, 10 to the minus
18 5.

19 Okay, slide 6, I just want to quickly go
20 over the combustion behavior aspects, the different
21 combustion modes. When I talk about slow speed
22 combustion, I talk about deflagrations and diffusion
23 flames; when I talk about fast speed, I talk about
24 flame acceleration and DDT. I just give a comparison
25 of the flame fronts of a couple of meters per second

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to a couple of thousand meters.

2 One of the post-TMI documents I drew upon
3 was the McGuire hearings which took place in February-
4 March of 1981 for about four weeks, in which the ice
5 condenser was discussed in quite detail. There were
6 notably experts that Duke provided on their team.
7 These guys Bernard Lewis and Bela Karlovitz are quite
8 famous within their field. So I try to pick some key
9 insights from the transcript.

10 Their best guess or their best judgment is
11 that the type of burning that would take place in the
12 ice condenser is a continuous diffusion flame at the
13 top of the ice condenser. We are talking about
14 standing, stable flames.

15 MEMBER WALLIS: You've really got a flame
16 inhibitor in the form of all this ice and fog and
17 stuff in the chest.

18 MR. NOTAFRANCESCO: Well, but as the
19 hydrogen exits the top of --

20 MEMBER WALLIS: Well, when it comes out --

21 MR. NOTAFRANCESCO: Some of the other
22 points I am trying to bring here is obviously flame
23 acceleration and DDT were one of the top of the
24 issues. The experts claimed that the geometry and
25 flow conditions inside the ice condenser are not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 conducive to producing a transition to detonation.

2 Somebody even asked, even without air
3 return fans nor containment sprays, one of the experts
4 said, then the hydrogen stream emerging from the ice
5 condenser will mix slower with the air under the dome
6 and will be ignited and will burn as a slow-burning
7 diffusion flame.

8 Again, in another place having to do with
9 flame acceleration, some have a strong sideways
10 confinement in which one needs to get a DDT, and any
11 expansion that takes place during a deflagration phase
12 of the propagation will hold back the transition to
13 detonation.

14 So these key insights were articulated at
15 the time, and I think it is quite germane on how we
16 are carrying it today.

17 Another aspect is the IPE treatment. Back
18 in the CPI Program, which was the Containment
19 Performance Improvement Program, a generic letter went
20 out, and it was evaluation of interruption of power to
21 igniters. Again, no air return fans were mentioned.
22 I surveyed some of the licensees' evaluation in
23 response to the generic letter or supplement; the
24 licensee comes back and said there's a small cost
25 benefit. Again, there's no identification by the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 licensees that air return fans are necessary.
2 Moreover, some discussion on some of the licensing
3 says, well, we will consider powering some igniters as
4 part of the accident management program.

5 I have looked at some IPE event trees.
6 Again, continuous operation of igniters seemed to be
7 sufficient. It wasn't a necessary linkage between the
8 two systems.

9 The purpose of this slide was to give an
10 overview of the data that has taken place over 20
11 years, since 1981, in which the experts gave their
12 insights. None of the experiments have exposed any
13 disagreement with those judgments.

14 As you know, RES has been an active
15 participant in hydrogen behavior programs. During the
16 eighties the focus has been on looking and pretty much
17 evaluating the efficacy of igniters and pretty much it
18 focused on slow speed combustion, which that is the
19 intent of igniters.

20 During the nineties the NRC participated
21 in a number of flame acceleration experiments. I have
22 given you a reference for that also.

23 One of the tests we discussed earlier has
24 to do with ignition in a condensing mixture in which
25 there's like 20 percent hydrogen, but it is steam

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 inert. The sprays are on. There's no violent
2 detonation or anything. It is a deflagration type of
3 burning.

4 So I am just saying a preponderance of the
5 evidence -- well, I've got the summary here. A
6 preponderance of the evidence demonstrates that
7 igniters reliably initiate combustion at lean
8 mixtures, exhibit low flame speeds, and the testing
9 does confirm some of the tests were done as continuous
10 injection, and diffusion flames did exist and were
11 observed.

12 There's no opportunity for flame
13 acceleration in the covered regions in the ice
14 condenser. There is a smooth transition in the steam-
15 condensing environment, and besides burning locally
16 and efficiently, igniters induce bulk circulation
17 currents which promotes mixing.

18 This just summarized the MELCOR.

19 MEMBER WALLIS: Now this bulk circulation
20 is modeled successfully in MELCOR, you think?

21 MR. NOTAFRANCESCO: I think we said bulk
22 circulation patterns were --

23 MR. TILLS: Yes, bulk circulation patterns
24 are modeled well.

25 MEMBER WALLIS: Not mixing with any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 given --

2 MR. TILLS: But not within a given volume,
3 where you would expect, either by using your own
4 judgment or because of the slow injection sources,
5 that there would be pockets of those secondary
6 circulation areas.

7 MR. NOTAFRANCESCO: Again, the post-TMI
8 requirements had a 75 percent metal-water reaction as
9 the upper limit. The latest MELCOR sequences pretty
10 much range between 50 and 60 percent metal-water
11 reaction.

12 The overall conclusion: Core ice
13 condenses during populated SBO sequence. Back-up
14 power to igniter system alone is sufficient.
15 Collectively, past findings on relevant combustion
16 testing provide an adequate basis. Again, we provide
17 the downside of accelerating the -- utilizing the air
18 return fans accelerates ice meltout which, delaying
19 ice bed, could extend fission product scrubbing and
20 containment integrity.

21 So the bottom line is, looking over an
22 overview and the preponderance of the evidence, we
23 believe it is sufficient just to back up power to
24 igniters in an ice condenser plant, not promote the
25 inclusion of air return fans.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: So your conclusion is you
2 don't need to power the fans?

3 MR. NOTAFRANCESCO: Yes.

4 MEMBER WALLIS: You don't need to.
5 There's no payoff.

6 MR. NOTAFRANCESCO: Yes, that's right.

7 MEMBER WALLIS: But you still want to
8 insist on diesels, mixture diesels, to power the
9 igniters in the ice condenser plants?

10 MR. ROSENTHAL: Now we are into the final
11 part of the discussion, which to summarize and get
12 some advice from you.

13 MEMBER WALLIS: It didn't seem to me that
14 you made a very good case for that.

15 MR. ROSENTHAL: Excuse me?

16 MEMBER WALLIS: It didn't seem to me you
17 made a very convincing case for insisting on these
18 diesels just for the igniters. You could look at the
19 cost/benefit numbers. You have to be very risk-averse
20 or something in order to say you must do it.

21 MR. NOTAFRANCESCO: Do you want to go back
22 to this one?

23 MEMBER WALLIS: Yes.

24 MR. ROSENTHAL: Sure. Okay. What you see
25 hashed in are those situations in which you can make

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a cost/benefit argument. When the cost/benefit ratio
2 is less than -- and remember the costs are about
3 \$200,000 to \$300,000 to \$400,000. That is your
4 measure. When the cost/benefit ratio is less than .1
5 or greater than 10, it is a pretty easy decision.

6 MEMBER WALLIS: Well, I think you would
7 have trouble making a case for the 320 and 310s there.
8 So you would probably wipe out those ones.

9 MR. ROSENTHAL: What I'm saying is when
10 there's 320 on a mean value and 320 on the cost, so
11 you have a cost/benefit ratio of 1, that's the very
12 time that you ought to making your risk-informed
13 rather than a risk-based decision.

14 The cost/benefit analysis itself is
15 absolutely risk-based. So, yes, one of the questions
16 is, how risk-averse are you? How much do you believe
17 your understanding of the phenomenology? Do you
18 believe that it is adequate to suppress the initiating
19 frequency by making plant mods or do you have to have
20 some balance on mitigation?

21 These are weak containments. You know
22 that you have a reasonably high failure probability
23 due to hydrogen if you get into this SBO sequence. So
24 our judgment was -- and, yes, we are risk-averse --
25 but our judgment was that there were more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 considerations that said it was better to err on the
2 side of requiring the igniters to be powered than not.
3 Admittedly, that is a judgment call, based on these
4 other considerations.

5 MEMBER WALLIS: Look at Duke, for
6 instance. Duke is going to install a flood wall,
7 right? So the numbers you are looking at, and it is
8 the second one up from the bottom --

9 MR. ROSENTHAL: Thirty-two.

10 MEMBER WALLIS: -- or even the bottom one,
11 it seems to me hard to justify that because your
12 numbers which are shaded there are taking some extreme
13 cases.

14 MR. ROSENTHAL: Yes.

15 MEMBER WALLIS: So it is very hard to say,
16 "Duke, you must do this."

17 MR. ROSENTHAL: If you accept that you can
18 drive, that you are willing to take all the risk
19 reduction in terms of prevention, and I don't have the
20 philosophic answer. In fact, we would like your views
21 on that very question. If you want some balance with
22 mitigation, then you will go forward on it.

23 Shall we do the ice condensers in the Mark
24 III separately or together?

25 ACTING CHAIRMAN KRESS: Yes, I think we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ought to view them separately.

2 MR. ROSENTHAL: Okay.

3 ACTING CHAIRMAN KRESS: I haven't run the
4 numbers exactly, but if I take the Duke cases with the
5 best estimates down at the bottom, I think if you ran
6 1.174, assuming that those required items were already
7 in place, that they could probably justify taking the
8 amount on the 1.174 basis based on those numbers. So
9 if that were the case, it would be silly to put them
10 in.

11 MEMBER WALLIS: This is a kind of reverse
12 1.174.

13 ACTING CHAIRMAN KRESS: Yes, a reverse
14 1.174.

15 MEMBER WALLIS: I mean, you're asking for
16 a very --

17 ACTING CHAIRMAN KRESS: I don't think you
18 could make the same case for Sequoyah based on the
19 numbers I see, but, you know, just looking at the
20 delta LERF curve that you get, probably in 1.174 space
21 they could come in and say, "Look, on a risk-informed
22 basis, we could take these things out if we had them
23 in there." If that were the case, and it looks to me
24 like it would be for those, it would be silly to
25 require them to put them in.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: It would be kind of a
2 Gilbert and Sullivan opera. You would be putting them
3 in and taking them out by using different parts of the
4 regulations.

5 MR. ADLER: I want to say that, if you go
6 back and look at the original motivation for putting
7 these in, there was a defense-in-depth element to that
8 argument. I mean people made the case that these are
9 low-probability events back then. Utilities did not
10 fail to note that they had made improvements since TMI
11 and they thought all these events were low
12 probability.

13 But the Commission judged that, because
14 these were small-volume containments that led to high
15 concentrations, steel containments, many of them, not
16 reinforced concrete but relatively thin, steel-shell
17 containments, that the failure modes could be much
18 larger than what you might expect for reinforced
19 concrete, too.

20 I want to point out, too, that we haven't,
21 at least I haven't, heard -- maybe it was mentioned
22 earlier -- that the use of a mean value for NUREG-
23 1150, my personal view on that is that those mean
24 values are fairly strongly influenced by the random
25 ignition assumptions in NUREG-1150, which were biased,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 frankly, to produce DDT in the ice bed. Because they
2 had to assume random ignition in order to get to the
3 problem of transition to detonation.

4 ACTING CHAIRMAN KRESS: Which means you
5 need to use some lower --

6 MR. ADLER: Well, but in a station
7 blackout, in the absence of active power in the plant,
8 you might look more closely at the DCH study numbers
9 and higher percentiles from NUREG-1150, to look at how
10 important that particular assumption is. So that it
11 starts to push you up from the 300 number up to the
12 neighborhood of 1,000 for Sequoyah pretty quickly.

13 ACTING CHAIRMAN KRESS: Well, you know,
14 this might come down to a question of defense-in-
15 depth. Let's examine that just a minute.

16 You already have defense-in-depth because
17 these meet adequate protection and are already at
18 acceptable risk level, which is where you normally
19 expect defense-in-depth to be playing a role. Now we
20 are dealing with enhancements, and the question is, do
21 you want the same kind of defense-in-depth
22 considerations for enhancements, cost/benefit-type
23 things, when you have already had your defense-in-
24 depth philosophy put into achieving acceptable risks
25 in the first place?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 My own personal opinion is that is not a
2 good place to invoke defense-in-depth when you are
3 talking about enhancements and that you ought to be
4 more concerned about being sure you have the right
5 benefit/cost ratio and err on the side of not being --
6 err on the wrong side that a regulator normally
7 doesn't err on, because here you are talking adding
8 burden at an already acceptable risk plant. So you
9 need to err on the side of, well, I'd better be darn
10 sure of my cost/benefits, which tells me, instead of
11 using the 95 percentile, I ought to be using the 5
12 percentile.

13 It is a strange look at it, but it is
14 because I am in a different regime in the regulatory
15 sense. If I did use that philosophy, then none of
16 these, including the ice condenser, passes my test for
17 a backfit requirement.

18 MR. ADLER: Well, I will take one last go
19 at it, and that is that defense-in-depth was meant to
20 apply to the containment function and not invoke
21 reliance on initiating events, initiating event
22 frequencies.

23 It is also true that in some of these risk
24 studies some of the early failure mechanisms still are
25 associated with relatively low release fractions to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the environment. Some rather favorable assumptions
2 are made with respect to scrubbing, even for the early
3 failures.

4 So that is one of the reasons why fifth
5 percentile numbers are as low as they are. But I
6 guess immediately after TMI the focus was on defense-
7 in-depth but with the perspective of containment
8 function more specifically.

9 ACTING CHAIRMAN KRESS: Well, that's why
10 the igniter is in there.

11 MR. GRIMES: Dr. Kress, this is Chris
12 Grimes.

13 I would also like to put a little
14 perspective on this: that this is a cost/benefit
15 study that concludes a decade or so of research into
16 this question, but we still have an obligation in
17 implementing a recommendation to go out to seek public
18 involvement and comment on the values, the
19 uncertainties, the desirability of establishing a new
20 requirement.

21 I share your view primarily because my
22 experience in containment analysis tended to show that
23 most of the experimenters had a real hard time getting
24 hydrogen to burn when they want it to. But there is
25 also the aspect that we see in the present public

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 comments on the risk-informed changes to 50.44 in
2 terms of a measure of public confidence in having the
3 added capability to protect the containment.

4 I will point out Jack characterized these
5 as small, fragile -- I don't think he called them
6 "fragile" -- weakest, but the owners of pressure
7 suppression containments are fairly proud of them and
8 don't like to consider them weak. But there was a
9 reason why they were smaller. It was you put in these
10 pressure suppression capabilities in order to reduce
11 construction costs, but they are weaker containments
12 and they are the last boundary to radiological
13 release.

14 So there is a defense-in-depth aspect to
15 establishing the regulatory standard of performance,
16 and it will be incumbent upon us, as the implementers
17 of this research study, to go out and seek the
18 broadest public views about those values. If the
19 prevailing view is that the analysis was too
20 conservative for the purpose of trying to make a
21 cost/benefit argument, then this requirement might be
22 rejected by the Commission. On the other hand, if
23 there's a prevailing public confidence issue
24 associated with protecting the containment, then we
25 could see value being added to this close call.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ACTING CHAIRMAN KRESS: My experience
2 being on this Committee with the public comment
3 version of things like this is that you will get
4 significant comments from utilities, plus significant
5 comments from NEI, possibly some from EPRI, and two of
6 the intervenor organizations will comment and maybe
7 one private citizen. I don't know how you incorporate
8 all that because all the utilities are going to say
9 this is not worth it; at least I think they will. NEI
10 will say it's not worth it.

11 MR. GRIMES: Of course, NEI will say that.

12 ACTING CHAIRMAN KRESS: But the two
13 intervenors will say, "For heaven's sakes, put these
14 things in." That's what they will say. So you pretty
15 well know what is going to come out of the public.

16 MEMBER WALLIS: You need a real public
17 comment by a real public.

18 ACTING CHAIRMAN KRESS: Yes, but I don't
19 know you get that really. I don't know how you get
20 that.

21 MR. GRIMES: Well, we are working on
22 trying to come up with more performance measures for
23 the regulatory analysis. I will tell you right now I
24 face that challenge in terms of trying to determine
25 what are good ways to provide measures of common

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 defense and security issues for all of the work that
2 NSIR is doing for security requirements.

3 But we did get substantial public comment
4 on 50.44 changes relative to the reliance on
5 commercial-grade equipment. So we normally only get
6 one or two members of the public to comment, but if we
7 continue to try to offer a broader view, perhaps we
8 can get some more feedback on the public confidence
9 aspect.

10 But I am not going to presume a priori
11 that in this case of a close call that we would
12 naturally construct the circumstance as you describe,
13 where we are going to propose that we want to go out
14 and impose a requirement to add a feature that a Reg.
15 Guide 1.174 application would turn around and remove.

16 We would want to construct a regulatory
17 analysis in such a way that we would prevent that kind
18 of bureaucratic --

19 ACTING CHAIRMAN KRESS: Nightmare.

20 MR. GRIMES: Yes, circle. I'm sure
21 there's a much better term for it, but the only ones
22 that come to mind are not publicly expressible.

23 MEMBER WALLIS: Well, you could call it an
24 "absurdity." You could call it an "absurdity."

25 MR. GRIMES: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ACTING CHAIRMAN KRESS: Well, once again,
2 though, we always beat our head on the wall when it
3 comes to how much defense-in-depth is sufficient and
4 how do we decide. It comes down almost to always
5 being a judgment call.

6 MR. GRIMES: In this circumstance I share
7 some of Charlie's sentiments, having been a
8 containment analyst. I can tell you that I have a
9 simple view that the defense-in-depth feature is that
10 we err on the side of protecting containment. I am
11 more concerned about, if the cost/benefit analysis is
12 the predominant decision factor in this, we could end
13 up in some cases with some plants having this
14 auxiliary power capability and others not, and having
15 to explain to Congress why you ended up in that
16 circumstance.

17 I find that as the defense-in-depth
18 feature, as protecting ourselves from getting into a
19 circumstance where it --

20 ACTING CHAIRMAN KRESS: Under that kind of
21 thinking, though, you would require it for both ice
22 condensers and Mark IIIs.

23 MR. GRIMES: That's correct, and you would
24 do so by saying that you're going to provide more
25 weight to the defense-in-depth interests of protecting

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the containment than you are even a risk-informed
2 cost/benefit analysis about the relative value of
3 auxiliary power.

4 ACTING CHAIRMAN KRESS: But you've already
5 got two diesels and sometimes three and four in
6 plants, which is defense-in-depth.

7 MR. ROSENTHAL: Beyond three, you get into
8 common-cause failure things. You really don't buy
9 more with four or five.

10 ACTING CHAIRMAN KRESS: But that's already
11 the level of defense-in-depth for this thing. So, you
12 know, the question is, how much defense-in-depth do I
13 need?

14 MR. ROSENTHAL: Or, alternately, am I
15 averse to early failure, conditional containment
16 failure probabilities of .15, no less than .65 --

17 ACTING CHAIRMAN KRESS: When I have an
18 assured leak containment failure.

19 MR. ROSENTHAL: Excuse me?

20 ACTING CHAIRMAN KRESS: When you have a
21 for-sure leak containment failure anyway.

22 MR. ROSENTHAL: Due to the core
23 concrete --

24 ACTING CHAIRMAN KRESS: It's going to
25 fail. These things are going to fail late anyway.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ROSENTHAL: Yes, due to MCCI.

2 ACTING CHAIRMAN KRESS: It's a tough call.
3 I don't know how the -- the question is -- there's two
4 questions: How should we use these uncertainties, and
5 then how should we invoke defense-in-depth? It's two
6 separate questions altogether, to my mind.

7 MEMBER WALLIS: I think that's what you
8 need to bring to the full Committee. You need to
9 forget about all these technical arguments and
10 summarize them very quickly. Then say, "These are the
11 decisions we face. Which way should we make our
12 decision? Here are the various bases that we could
13 base our decision upon."

14 ACTING CHAIRMAN KRESS: You might show
15 this thing here and explain how you got it, and also
16 show the bottom line of the cost estimates because I
17 think those are pretty reliable and pretty
18 straightforward. Then just say, "We're faced with the
19 question of how do we use these uncertainties, and do
20 they pass the cost/benefit test? And how do we invoke
21 defense-in-depth?" I think that's the questions.

22 MR. ROSENTHAL: Well, I would solicit your
23 views.

24 ACTING CHAIRMAN KRESS: I think my views
25 don't matter a lot because it's the Committee views

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that prevail, and I don't know, you may have 10
2 different views.

3 MEMBER WALLIS: But when I look at the
4 decisions made by the agency in the last five years
5 and then this 1.174-type, I don't think this would
6 fly. I think this would have flown very well in the
7 eighties.

8 ACTING CHAIRMAN KRESS: Yes, I think if
9 you take a risk-informed view of this, it would
10 probably make it not fly.

11 MEMBER WALLIS: Yes, make it not fly,
12 right.

13 ACTING CHAIRMAN KRESS: That's my current
14 view.

15 MEMBER WALLIS: Then, because we have said
16 that risk-informed decisions will always come up
17 again, someone will say, "But you must have more
18 defense-in-depth; therefore, you can't do it." We've
19 said that before. We have raised that flag many
20 times. If this turns out to be that way with this
21 decision, people will wonder if any risk-informed
22 decision will fly because someone will bring in
23 defense-in-depth.

24 I am not sure the present climate is
25 conducive to accepting your arguments.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GRIMES: Well, this is Chris Grimes.
2 What I want to make sure is clear is you
3 have two opportunities to comment on this. The first
4 opportunity is relative to the robustness of the
5 analysis supporting the research conclusions and
6 recommendations. But then you will have another
7 opportunity to discuss it in a broader regulatory
8 coherence way as we come back to the ACRS with a
9 recommendation in terms of the implementation, and
10 whether or not we would proceed with rulemaking or
11 whether or not we would try to do this within the
12 context of the existing regulations.

13 ACTING CHAIRMAN KRESS: Let's comment on
14 the robustness.

15 MR. GRIMES: Right.

16 ACTING CHAIRMAN KRESS: We can do that.
17 I think the cost side of the thing was extremely
18 robust and very believable and a good analysis. The
19 benefits are driving the uncertainties. I mean, if
20 you take the benefits minus the cost, it's the
21 benefits that's driving all the uncertainty for most
22 of it.

23 It is about as robust as it can be,
24 relying on existing information. To go out and do a
25 full, integrated uncertainty analysis on the benefits,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it is just, I think, asking way too much for this
2 issue. I don't think it is worth that at all. It is
3 a huge undertaking, I think.

4 So I think in terms of doing what you
5 could to assess the uncertainties, I think you have
6 done about all you can. I can't think of anything
7 else I would ask you to do.

8 So, as far as whether it is robust or not,
9 it's not very robust, but it is the best you can do.
10 The question is now how to make use of that
11 information. Then that comes down to the second
12 question: How to use the uncertainties and how to use
13 defense-in-depth?

14 MR. GRIMES: In such a way that we don't
15 damage the credibility of the regulatory process.

16 MEMBER WALLIS: I think we might say that
17 the technical analysis in terms of the physics, and so
18 on, sounds believable.

19 ACTING CHAIRMAN KRESS: Yes.

20 MEMBER WALLIS: It is a pretty thorough
21 investigation.

22 ACTING CHAIRMAN KRESS: For example, I
23 think I would buy off completely on the MELCOR stuff
24 that says you don't need the air return fan. I think
25 that is pretty robust.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I think we just take the PARs out of this
2 altogether. They just don't pass the test at all. So
3 we are just dealing with the igniters.

4 I think you've got about as much
5 information as you are going to be able to get. I
6 can't see where you can get more. So you have to make
7 your decision based on this information you have.

8 MEMBER WALLIS: Well, I'm not sure I agree
9 with my colleague that it is only the benefits that
10 are subject to uncertainty. These costs, as if \$5,000
11 or \$175,000 -- let's take \$50,000; that sounds to me
12 to be full of a lot of uncertainty.

13 MR. GRIMES: But that is one area where we
14 can definitely get a substantial amount of public
15 comment with more precise --

16 MEMBER WALLIS: What is the elasticity
17 here? If you force the utilities to do it, they might
18 find a way to do it cheaper. I'm not at all sure we
19 have to make it so expensive.

20 MR. GRIMES: And if we are able to
21 articulate it in a way that it becomes a performance-
22 based rule as a feature of 50.44, they might find even
23 further ways to reduce the cost. But I can tell you
24 through some of our experience that \$50,000 for
25 training is not unusual for some of the most simple

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 procedural changes.

2 ACTING CHAIRMAN KRESS: Yes, that wouldn't
3 surprise me at all.

4 MR. ROSENTHAL: When you're all said and
5 done, I truly don't believe that polishing the numbers
6 is going to resolve the issue.

7 ACTING CHAIRMAN KRESS: I think you're
8 right. That is basically what I was saying. You've
9 got the numbers that you need, and polishing them is
10 not going to help. You have to make a decision based
11 on them, and it is a matter of philosophy and how you
12 feel about it almost.

13 I might ask if any of the members of the
14 public or the utilities want to make any comments.

15 MR. BARRETT: Yes, this is Mike Barrett
16 from Duke. I guess I would offer just a couple of
17 thoughts.

18 As one of the, I guess, holdouts, I have
19 always been rather skeptical that powering just the
20 igniters alone was adequate. Now it is clear the
21 staff has done a lot of work here, and they have done
22 some now seasoned, done some research into what has
23 been said. I think they have made some progress into
24 allaying my concerns somewhat on that.

25 But I still am a little bit concerned

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about using the lump parameter codes for this type of
2 analysis. I am also a little concerned, while the
3 analyses address several different amounts of hydrogen
4 released, it appeared to be a single accident
5 sequence, a reactor coolant pump seal LOCA, core
6 uncovering somewhere around two hours or so. So it
7 appeared to be a fairly large reactor coolant pump
8 seal LOCA.

9 The sequence that was analyzed may not be
10 probabilistically the most significant sequence for
11 which we ought to be trying to deal with these issues.
12 At least for the Duke plants, use of generator run
13 failures dominate the station blackout frequency. You
14 would be looking at being five, six, seven, eight
15 hours on your decay heat curve by the time you were
16 looking to having core uncovering, or longer.

17 Maybe that doesn't change the behavior of
18 what we saw here; maybe it does. I really don't know.
19 But it seems to me there are other issues that are of
20 various levels of importance that may or may not
21 impact the overall conclusions of the analysis.

22 But I guess just one thing, just a point
23 for some thought: If the recommendation is to go
24 ahead and power igniters, if a utility chose to want
25 to do fans and igniters, would you be dissuading them

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from doing so? I mean, you have this negative
2 consequence in your slides about the ice melting
3 faster. That is certainly true, but at the same time,
4 for those of us maybe that are a little not yet
5 convinced, I don't want to have my fans there; that
6 may not be enough of a negative for us to want to
7 change the way we would implement it.

8 ACTING CHAIRMAN KRESS: That's a good
9 point.

10 MR. BARRETT: A point for thought there.

11 MR. ROSENTHAL: We agree, but, Dr. Kress,
12 I am compelled to make some comments about Mark III.

13 ACTING CHAIRMAN KRESS: Okay, please do.

14 MR. ROSENTHAL: Can we? I'll be fast.

15 From a strictly cost/benefit standpoint,
16 we are even an order of magnitude farther away from
17 making a decision that you should go forward. But
18 there are other considerations.

19 One is regulatory coherence. If you strip
20 out everything that you think you know and you say,
21 "Well, I've got these steel containments and they're
22 roughly the same volumes, and one's got ice wrapped
23 around it and another one's got water in the bottom,
24 but you can morph one into the other; they really
25 aren't that different," of all the containment types,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you rely on pressure suppressions that are this big
2 chunk of concrete. They are the weaker of the
3 containments.

4 You have a high conditional containment
5 failure probability for this sequence for Mark III.
6 For some, but not all, Mark IIIs, station blackout is
7 95 percent of the core damage frequency. So you are
8 not providing containment protection for the sequences
9 that you want the most.

10 You have a lot of hydrogen in the Mark III
11 because you've got a lot of zirc. So you've got to
12 really believe that you understand the phenomenology.

13 So for those reasons, we would go forward
14 on the Mark III. Now one could argue it just plain
15 isn't cost/beneficial. You have a process called the
16 backfit process and it doesn't make it.

17 Prevention is preferred over mitigation
18 for a dollar spent. The CDFs of these plants are
19 quite low. You have pool scrubbing, which we know
20 works, but there's a question of, under what
21 circumstances will you bypass the pool?

22 ACTING CHAIRMAN KRESS: See, the backfit
23 rule guidance, does it say anything about defense-in-
24 depth in there? I've forgotten what exactly it does
25 say. I know it has a safety --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ROSENTHAL: My savior.

2 MR. GRIMES: Not with specificity. It
3 says defense-in-depth is a consideration.

4 ACTING CHAIRMAN KRESS: Oh, it's a
5 decision.

6 MR. GRIMES: And I would hope that we're
7 now going to extend the regulatory analysis guidelines
8 to include an explanation about how public confidence
9 should be considered. We don't have measures for that
10 yet, either.

11 But defense-in-depth --

12 ACTING CHAIRMAN KRESS: But as a good
13 regulator, you need to think about those things.

14 MR. GRIMES: Right.

15 MR. ROSENTHAL: Okay. So if you could
16 provide us some guidance on Thursday?

17 ACTING CHAIRMAN KRESS: Well, that will be
18 my charge to the Committee, if that's what you want,
19 is guidance. I think, one, we have about an hour-and-
20 a-half on Thursday. I would abbreviate a lot of these
21 discussions and get to the bottom lines. I think I
22 would tend to leave out most of the MELCOR stuff and
23 just give the bottom line on that, unless you get
24 asked for more.

25 I would concentrate on this kind of curve

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for the averted costs on the cost side of the equation
2 and give those two and show how they compare, and then
3 just say, "Our issues are this," and they are pretty
4 much what you spelled out, and say, "We're seeking
5 guidance from you guys."

6 This is more, I think, a question of
7 philosophy and regulatory coherence than it is the
8 bottom line of the numbers. So I think that is what
9 I would do.

10 MEMBER WALLIS: Could I bring in another
11 thought here?

12 ACTING CHAIRMAN KRESS: Yes.

13 MEMBER WALLIS: I'm thinking about all of
14 these things in some sort of context. We mentioned
15 1.174. If you go ahead with this, which looks like
16 kind of a marginal decision, but if you come down on
17 the side of being more conservative and that
18 containment is something you want to protect and it is
19 good for public confidence perhaps, and so on, and you
20 recommend this, then how about the efforts which are
21 underway to legislate that we don't have to worry
22 about large-break LOCA?

23 I mean that seems to me a much bigger
24 decision going the other direction, saying, instead of
25 being conservative, we are going to use risk to do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 away with something which the public has regarded, I
2 think for a long time, as a sort of keystone of
3 defense-in-depth. It seems very strange if we go so
4 incrementally this way and then come back with
5 something which is a huge step in the other direction
6 in terms of large-break LOCA.

7 MR. GRIMES: That is why I mentioned
8 before that, from the standpoint of trying to develop
9 a framework for risk-informed regulation, we need
10 decision criteria that are going to inform us not only
11 about risks and benefits, but also ways to put
12 defense-in-depth into measures and to provide more
13 guidance about what truly contributes to public
14 confidence.

15 Containments contribute to public
16 confidence. The details of the interworkings of an
17 ECCS calculation do not necessarily contribute to
18 public confidence.

19 (Laughter.)

20 MEMBER WALLIS: No, you don't need to know
21 the interworkings to realize that you've been told for
22 40 years that we are considering the biggest break and
23 now we are going to step back from it. You don't need
24 to know anything about the details.

25 MR. GRIMES: We stepped back from large

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 delatine breaks 20 years ago, and we have been backing
2 away from it ever since. But we have recommendations
3 on trying to risk-inform 50.46 and Appendix K that
4 move them in the direction of being more performance-
5 based.

6 We don't necessarily need to frighten the
7 public by telling them that we're taking out all kinds
8 of protections in the vessel and the fuel, but I do
9 agree that there's got to be an explanation about how
10 all of these initiatives are coherent, are consistent,
11 are achieving some demonstrably simple explanation,
12 that is, an explanation that can be articulated to a
13 Congressman in seven minutes or less. That is sort of
14 the performance standard in terms of how we would be
15 able to develop simple explanations about regulatory
16 analysis for changes that go either way.

17 I noticed with some chagrin that in the
18 feedback from the Nuclear Safety Research Conference
19 that Mr. Lochbaum has developed a new sound bite that
20 just chilled me, and that is that the one edge of this
21 sword is razor-sharp and the other edge of this sword
22 is Nerf-like. If that is the image of the risk-
23 informed cuts both ways, then we've got a lot to do to
24 work on public confidence.

25 MEMBER WALLIS: Well, it seems to me, to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 go back to what we said a little while ago, that you
2 want to get in the representative public, because
3 eventually that is really where the decision should be
4 made, not made by Mr. Lochbaum and not made by some
5 self-interested utilities.

6 ACTING CHAIRMAN KRESS: Yes, but I don't
7 know how you do that.

8 MR. GRIMES: It's been a real challenge to
9 try to get a representative cross-section of the
10 public involved in rulemaking activities. Despite his
11 creative use of the English language, Dave Lochbaum is
12 still one of the best bellwethers that we have in
13 terms of public reaction to regulatory initiatives.

14 ACTING CHAIRMAN KRESS: He is worth
15 listening to from that standpoint.

16 MR. GRIMES: Yes, and I take that comment
17 about the two-edged sword as a measure of how the
18 public views risk-informed initiatives.

19 MR. ROSENTHAL: Okay, we will have the
20 benefit analysis. We will have the cost analysis. We
21 will introduce the policy decisions and ask for your
22 guidance. We will say that we don't intend to go into
23 the details of the MELCOR or the hydrogen DDT. We
24 will have staff there prepared to answer questions.

25 ACTING CHAIRMAN KRESS: Yes, that's right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I thought your little discussion on just looking at
2 the face value of Mark IIIs with respect to ice
3 condensers was a good perspective to give here.

4 MR. ROSENTHAL: I'll beef that up.

5 ACTING CHAIRMAN KRESS: Yes.

6 MEMBER WALLIS: I think you should have
7 the bottom line for the MELCOR study, the final page.

8 ACTING CHAIRMAN KRESS: Yes, I think get
9 to the bottom page.

10 MEMBER WALLIS: But you don't need to look
11 into the nodding and all the curves and all the wiggles
12 and squiggles and graphs and all that. Keep that in
13 reserve.

14 MR. ROSENTHAL: There is one graph in
15 there that says, if you don't have it, you blow it
16 apart, while if you have the igniters with or without
17 the fans --

18 MEMBER WALLIS: That's a useful one.
19 That's a good one.

20 ACTING CHAIRMAN KRESS: That would be a
21 good one to have.

22 So I guess it will be an interesting
23 discussion. We will have Dana and Bill Shack, and
24 George will be here. That will be interesting.
25 George is not going to be here? Oh, darn. It will be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 interesting, I think.

2 MR. ROSENTHAL: Thank you.

3 ACTING CHAIRMAN KRESS: We appreciate this
4 very nice discussion, very nice presentations.

5 So I will now adjourn this meeting.

6 (Whereupon, the foregoing matter was
7 concluded at 5:19 p.m.)

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701