

# Official Transcript of Proceedings

## NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards  
Thermal-Hydraulic Phenomena Subcommittee

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Thursday, December 12, 2002

Work Order No.: NRC-693

Pages 410-631

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION  
+ + + + +  
MEETING  
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS  
(ACRS)  
SUBCOMMITTEE ON THERMAL-HYDRAULIC PHENOMENA  
+ + + + +  
THURSDAY,  
DECEMBER 12, 2002  
+ + + + +  
ROCKVILLE, MARYLAND  
+ + + + +

The Subcommittee met at the Nuclear Regulatory Commission, Two White Flint North, Room T2B3, 11545 Rockville Pike, at 8:30 a.m., Dr. Graham Wallis, Chairman, presiding.

COMMITTEE MEMBERS:

GRAHAM B. WALLIS, Chairman  
SANJOY BANERJEE, Consultant  
F. PETER FORD, Member  
THOMAS S. KRESS, Member  
FREDERICK MOODY, Consultant  
VICTOR H. RANSOM, Member

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

ACRS STAFF PRESENT:

PAUL BOEHNERT, Staff Engineer

ALSO PRESENT:

STEPHEN M. BAJOREK, NRC

JOSEPH M. KELLY, NRC

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I-N-D-E-X

<u>AGENDA</u>	<u>PAGE</u>
Reconvene -- G. Wallis, Chairman	413
NRC-RES Presentations	
Status of TRAC-M Code Development	
TRAC-M Development Status and Plans	413
J. Kelly, RES	
TRAC-M Developmental Assessment Studies	492
S. Bajorek, RES	
Model Development Example: Use of Rod	515
Bundle Heat Transfer Test Data	
J. Kelly	
Subcommittee Caucus	522
Comments on Meeting Presentations	
Follow-on Actions	
Decision Regarding Future Action on	
This Matter by ACRS	
Adjourn	531

P-R-O-C-E-E-D-I-N-G-S

8:33 a.m.

CHAIRMAN WALLIS: The meeting will now come to order. This is a continuation of the ACRS Subcommittee meeting on thermal-hydraulic phenomena. For today's meeting, we will discuss the status of the Office of Nuclear Regulatory Research's TRAC-M Code Consolidation and Documentation Project. The entire meeting will be open to the public. Mr. Paul Boehmert is the cognizant ACRS staff engineer for this meeting.

I call upon Joe Kelly from the NRC's Office of Nuclear Regulatory Research to begin.

MEMBER KRESS: Somebody asked an interesting question that I didn't know the answer to: What does the M stand for? Is it modular? What is it?

MR. KELLY: It stands for modernized.

MEMBER KRESS: Modernized.

MR. KELLY: And it was an interim name, if you will, that we initially came up with to distinguish it from TRAC-P, and we've been looking around for a better name and we've yet to come up with one.

MEMBER KRESS: Okay.

MR. KELLY: So if we do, we'll be changing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the code name.

2 MEMBER KRESS: Okay.

3 MR. KELLY: And so what I'm going to do is  
4 give you a summary of where we are in the code  
5 consolidation and also --

6 CHAIRMAN WALLIS: I thought there was  
7 TRAC-paleolithic and TRAC-medieval.

8 (Laughter.)

9 MEMBER KRESS: But we could call you  
10 Michael now?

11 MEMBER KRESS: Yes. The comment has been  
12 made that since the code was written in Fortran that  
13 the manual should be ancient Greek and Latin. So at  
14 any rate, I'll talk about the status of the  
15 consolidation but also give you an idea of what our  
16 long-term development plans are.

17 First thing I'd like to do is give you a  
18 release schedule, then I'm going to review what our  
19 development objectives were and the status of those  
20 objectives, talk about how we're going to maintain the  
21 capability to use legacy input models, describe the  
22 current and short-term activities and then, as I said,  
23 the long-term development plan.

24 Code release schedule. We're going to  
25 release an alpha version to the internal users at the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 end of this calendar year, so just in a few weeks. It  
2 will be able to run input decks from UF5, TRAC-B and  
3 TRAC-P with a little caveat on RELAP5. We haven't  
4 quite finished the mapping of the control system.  
5 That's kind of being done as we speak. So a very  
6 large complicated RELAP5 deck will not, at this time,  
7 be able to be run by TRAC.

8 The documentation. There will be user's  
9 guide, a theory manual and developmental assessment  
10 manual. The user guide we have a first draft, and  
11 this will definitely be missing the RELAP5 translation  
12 guide and that's how to take a RELAP5 deck and run it  
13 inside of TRAC. The theory manual, there is a first  
14 draft. It will not include the BWR models and  
15 sections on the new physical models. And the new  
16 physical models are basically just the reflood model.

17 CHAIRMAN WALLIS: This theory manual is  
18 going to set the standard for explaining how basic  
19 equations lead to the equations actually used?

20 MR. KELLY: Not the first draft.

21 CHAIRMAN WALLIS: Not the first draft?

22 MR. KELLY: But by the time we get to  
23 here, it will be done.

24 CHAIRMAN WALLIS: Oh. It's going to take  
25 you a year to figure out the theory?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. KELLY: Well, take a year to do that  
2 part of the work.

3 MR. ROSENTHAL: To set the standard of  
4 excellence.

5 MR. KELLY: Good response.

6 CHAIRMAN WALLIS: Well, okay. Can we see  
7 the draft anyway so we can help you?

8 MR. KELLY: Yes.

9 CHAIRMAN WALLIS: Okay.

10 MR. KELLY: The draft will not be terribly  
11 different from what you have now. We'll be doing a  
12 beta release, which will be our first external  
13 release, to the CAMP members in the spring, and that  
14 meeting is now at the end of April in Korea. It's the  
15 week after the ICAAN meeting in Japan. And for this  
16 case, the documentation, the user guide, will then be  
17 in final form, the theory manual will now have a  
18 complete first draft, so everything I've said is going  
19 to be missing here will now be there. It will not be  
20 completely rewritten front to back. That's just not  
21 going to happen. What is going to happen is as we go  
22 in and address a certain part of the code, like in  
23 this case replace the reflood model, that section will  
24 be completely rewritten. And we've also put a task to  
25 John Mahaffy to rewrite the part of the momentum

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 equation. So that will be in there too.

2 CHAIRMAN WALLIS: All of your cowards.

3 MR. KELLY: Pardon me? And we'll have a  
4 first draft of the DA manual. It will only be partial  
5 at that point in time, because we're starting our  
6 assessment later than we had initially intended. The  
7 official release will be at the end of year '03, and  
8 for that it has to meet the success metrics and then  
9 the documentation will be in draft form. I'll talk  
10 about the success metric on another slide, but  
11 basically it's to be able to be a complete assessment  
12 matrices from all of the predecessor codes with the  
13 same degree of fidelity. And you'll notice the little  
14 note in red, and it says that the potential with the  
15 documentation in some of the assessments will be  
16 delayed, and that's due to a reallocation of resources  
17 due to AP1000 and also the upcoming ESBWR. That's  
18 already happened, and you'll see some of that and the  
19 reason that this part of the manual -- the BWR models  
20 are not going to be in the manual as both the  
21 reallocation of people and also of funding.

22 MEMBER RANSOM: Joe, who is actually  
23 working on this?

24 MR. KELLY: Well, the in-house team  
25 currently has four staff members.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER RANSOM: That's in the NRC, right?

2 MR. KELLY: In the NRC.

3 MEMBER RANSOM: Yourself and who else?

4 MR. KELLY: Chris Murray, Wei Dong Wang  
5 and Joe Staudenmeier. And, of course, we all have  
6 multiple assignments, but that is the Code and Models  
7 Development Group.

8 MEMBER RANSOM: Who was the fourth one?

9 MR. KELLY: Joe Staudenmeier.

10 MEMBER RANSOM: Joe, but I guess it was  
11 the first one you mentioned.

12 MR. KELLY: Let's see, Chris Murray.

13 MEMBER RANSOM: Chris Murray.

14 MR. KELLY: He does the code configuration  
15 control and testing. Wei Dong is helping me with the  
16 reflood model. That's in addition to being things  
17 like the PUMA Project Manager and the RELAP5 Technical  
18 Monitor.

19 MEMBER RANSOM: Right.

20 MR. KELLY: Joe is kind of our BWR expert.  
21 And then myself. Then as far as contractors go, Penn  
22 State University, which is really John Mahaffy, and we  
23 just put a new contract in place with him which calls  
24 for a post-doc and a graduate student and part-time  
25 from an undergrad student. LANL has been a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 contractor. They're now going to be down to about one  
2 FTE that's coming in. The other contractor is ISL,  
3 and that's part of their -- they have a large contract  
4 for a code on maintenance and assessment. And that's  
5 the same contract that RELAP is under, but we've been  
6 doing some of the TRAC consolidation and the TRAC  
7 assessment work there.

8 MEMBER RANSOM: Yes.

9 MR. KELLY: But as far as TRAC development  
10 goes, it's primarily Birol Aktas and partially Rex  
11 Shumway. And then for the mapping of the RELAP5  
12 kinetics, we've had some help from Doug Barber of ISL.  
13 And I apologize to anyone whose name I didn't mention.

14 MEMBER RANSOM: Then there's the interface  
15 test too, right? Is that a separate contractor, the  
16 GUI?

17 MR. KELLY: Oh, SNAP, yes. That's  
18 completely separate.

19 MEMBER RANSOM: Is that under your  
20 direction too?

21 MR. KELLY: Well, Chester Gingrich, who's  
22 a member of my Code and Models Development Team, is  
23 the Technical Monitor for SNAP, and I leave that to  
24 Chester.

25 MR. ROSENTHAL: And then we have the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 resources for assessment, which we'll get to later  
2 this morning. That's separate from development.

3 MEMBER RANSOM: Does that include  
4 developmental assessment or do you have the developers  
5 do the developmental assessment? They run tests  
6 problems, I assume.

7 MR. KELLY: Yes, definitely.

8 CHAIRMAN WALLIS: Now, who are the users  
9 of this code?

10 MR. KELLY: Well, our primary user, of  
11 course, is NRR.

12 CHAIRMAN WALLIS: So are you going to  
13 train NRR?

14 MR. KELLY: Well, one of the people that  
15 used to be in my Code and Models Development Team left  
16 for NRR, and since that time we've been getting user  
17 needs for TRAC-M. And so --

18 DR. BANERJEE: Who is that, Joe.

19 MR. KELLY: Shanlai Lu. And so that's  
20 actually part of the reason we had to reallocate some  
21 of the funding was we got a user need for advanced BWR  
22 fuel in anticipation of the SBWR submittal.

23 CHAIRMAN WALLIS: I think it's important  
24 that the Agency get real experienced with use of this  
25 code.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. KELLY: Right.

2 CHAIRMAN WALLIS: So that it becomes an  
3 easy thing to use.

4 MEMBER RANSOM: I guess one other quick  
5 question: Has anybody ever reviewed the details of  
6 what you're doing from a theory point of view, basic  
7 equations and whatever is going on? This Committee,  
8 I guess, is not, from my understanding.

9 MR. KELLY: Okay. Over the last five  
10 years, what has primarily been going on is a code  
11 modernization, improving the architecture and enabling  
12 the capability to be able to, in effect, do old input  
13 decks, whether they be from TRAC-B or from RELAP5.  
14 And also the space when incorporating the physical  
15 models from TRAC-B for certain components. That's it.  
16 We haven't made improvements to the code in the sense  
17 of better physical models or better numerics, except  
18 for, obviously, little fixes occasionally.

19 So on my watch, which would be the last  
20 five years, the fundamental equations, the way they're  
21 averaged and differenced, have not been reviewed.  
22 Whether they were a subject to a peer review before  
23 that time, I don't know. Now, of course, the CSAU  
24 study was done with TRAC-PF-1-MOD1, which is the  
25 predecessor code here. The fundamental equations have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 not changed since PF-1-MOD1 with the exception of the  
2 change to the momentum equation for how it handles  
3 area changes.

4 MEMBER RANSOM: Well, even that has been  
5 an issue in recent code reviews, and it would be, I  
6 think, kind of good to get this out and reviewed and  
7 either get acceptance or -- you know, it's kind of  
8 poor to wait until next year and then find that  
9 there's some objection to way it's handled, the view  
10 or whatever. So that --

11 MR. KELLY: If you want to put us on the  
12 schedule for, say, sometime in early spring --

13 MEMBER RANSOM: Well, that's, I think, up  
14 to Graham. I personally feel like it would be very  
15 good to take a look at this and resolve some of the  
16 issues that have been coming up in connection with  
17 other codes, for example.

18 MR. KELLY: I don't have any problem with  
19 that at all. Just give us plenty of notice, because  
20 to come here and do a good job, we need to spend some  
21 time on it, rather than just xerox pages out of the  
22 code manual and slap them up on the projector.

23 DR. BANERJEE: I guess it would help to  
24 have whatever documentation you've got in front of us  
25 maybe a couple of months early so we can review it and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 send you questions.

2 MR. KELLY: Well, basically, the part of  
3 the theory manual that describes the equations and how  
4 they're differenced will stay the same, so you already  
5 have it.

6 MEMBER RANSOM: We already have it on CD,  
7 but it's, substantially, the TRAC-P documentation, and  
8 it's as vague as that original documentation, so it's  
9 nothing explicit.

10 MR. KELLY: There's nothing in it  
11 whatsoever about how the equations were initially  
12 derived or averaged over the control volumes. It  
13 basically says, "Here are the equations, here's how we  
14 differenced them." And that's what will have to be  
15 generated as part of improving the documentation, but  
16 it's also what would have to be generated before  
17 someone comes here and presents it. So that can  
18 actually be synergistic in that effect, because we  
19 plan on redoing that part of the documentation in the  
20 next six months or so. So if in the middle of the  
21 spring or something, that timing would be about right.

22 DR. BANERJEE: You're aware of the  
23 discussion that's been thrown around S-RELAP?

24 MR. KELLY: Well, I won't address S-RELAP,  
25 because I worked for Siemens, okay?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: Right, but --

2 MR. KELLY: But what I will -- I am aware  
3 of that discussion a little bit. I've tried to stay  
4 away from it, but I was definitely aware of the  
5 discussion with the same kind of topic having to do  
6 with RETRAN, which preceded the S-RELAP5 submittal.

7 CHAIRMAN WALLIS: Actually, we're also  
8 aware of the presentation you made when you were  
9 employed by Siemens.

10 MR. KELLY: Right. Which, as I recall,  
11 was over six hours.

12 CHAIRMAN WALLIS: It was very interesting  
13 and it seems to have disappeared from the corporate  
14 memory of that conference.

15 MR. ROSENTHAL: We did get the consultants  
16 -- the ACRS consultants report such as yours, and  
17 several of the staff did read it.

18 CHAIRMAN WALLIS: Okay. Well, that will  
19 be sorted out some time next year.

20 MR. KELLY: Okay. Now what I want to do  
21 is review the development objectives and tell you  
22 where we are. The first was to have a modern  
23 architecture, the next was to effect the code  
24 consolidation, make it easier to use and then improve  
25 the accuracy and the numerics. Well, as I said, most

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 of the effort, in fact, has actually been in these  
2 first three items.

3 A lot was to improve the architecture in  
4 the beginning but what really has the taken the time  
5 was the code consolidation. We initially reviewed the  
6 code consolidation as putting in the TRAC-B models so  
7 that the PWR code would also be able to do boiling  
8 water reactors and then recovering the capabilities of  
9 the Ramona code by having coupling to 3-D kinetics and  
10 that's coupling to the PARCS code. And I think  
11 you've seen results from that, and that's worked out  
12 fairly well.

13 What turned out to be a big job was doing  
14 the consolidation for RELAP5. The initial idea was we  
15 have a PWR code that's supposed to be a large break  
16 code. All we have to do is assess it against small  
17 break, find out where the deficiencies are and improve  
18 the models. So that was the initial idea for what  
19 consolidating RELAP5 capability would be, but along  
20 the way it became acknowledged that most of our users  
21 are RELAP5 users, our past users, and most of the  
22 input decks, whether they're for large experimental  
23 facilities or for plants, are RELAP5 input decks. And  
24 as you know, putting together an input deck for a  
25 plant is no small undertaking. People talk about a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 staff-year or so, or more.

2           So the decision was made to retain that  
3 investment, and what that means is we wanted to be  
4 able to take a RELAP5 deck, which can be 10,000,  
5 20,000 lines of input, run it through -- and run it as  
6 if it were a TRAC deck. And that's not just simply  
7 translating the input deck, which normally you could  
8 do if the two codes were close together. But there  
9 were some very fundamental modeling differences  
10 between RELAP5 and TRAC that caused other changes to  
11 have to be made inside of TRAC.

12           Very simple example is a pipe. In RELAP5,  
13 a pipe has a certain number of control volumes and  
14 internal junctions only. It doesn't come with  
15 junctions attached to the ends. In TRAC, a pipe  
16 automatically has junctions attached to the ends.  
17 Now, that's a seemingly trivial thing, but when you're  
18 trying to map components from a RELAP5 deck to TRAC  
19 components that makes a big difference. So we had to  
20 put in a capability called single junctions into TRAC,  
21 which didn't exist before, so that we could start  
22 making TRAC pipes look more like RELAP5 pipes, et  
23 cetera, et cetera, et cetera.

24           CHAIRMAN WALLIS: Now, the equations  
25 you're solving are essentially the same for both

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 codes?

2 MR. KELLY: Well, if you mean that they're  
3 a two-fluid, six-equation model, yes.

4 CHAIRMAN WALLIS: But the terms in those  
5 equations --

6 MR. KELLY: Are different.

7 CHAIRMAN WALLIS: -- are the same or  
8 they're different?

9 MR. KELLY: They're different.

10 CHAIRMAN WALLIS: Yes.

11 MR. KELLY: And that's especially true in  
12 the momentum equation.

13 MEMBER RANSOM: Along that line, Joe, I  
14 know that one of the differences, and I'd be  
15 interested in how you resolve it, is TRAC used to view  
16 the -- the volume center had an elevation and so the  
17 elevation change would be from volume center to volume  
18 center, whereas in RELAP5 the elevation was specified  
19 at the junction. And then the change in elevation  
20 would occur at the junction associated with volumes.  
21 And so how do you handle that problem?

22 MR. KELLY: TRAC can now do both.

23 MEMBER RANSOM: It can do either?

24 MR. KELLY: What we basically --

25 MEMBER RANSOM: I know I've had trouble

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 with TRAC-2 because they sometimes didn't account for  
2 the elevation change from volume center to wherever  
3 the junction was on the volume.

4 MR. KELLY: Yes. Basically, you can now  
5 bend it in the middle of a cell so that you can do the  
6 RELAP5 and then subtract --

7 MEMBER RANSOM: Well, that's TRAC. TRAC  
8 bends in the middle.

9 MR. KELLY: Yes. I get it mixed up when  
10 I see --

11 MEMBER RANSOM: You'll find bends at the  
12 junction or at the ends of the pipe.

13 MR. KELLY: Basically, it was put in so it  
14 can be done either as part of the input processing and  
15 then -- again, that's one of those little things that  
16 turned out to be a lot of work to get in and get  
17 working right.

18 MEMBER RANSOM: The other thing, my  
19 experience with both codes is that the T-modeling has  
20 never been very good. RELAP5 has this idea of a  
21 parallel branch which was an expediency, you might  
22 say, in development. TRAC had the idea of a volume  
23 which you branch off of the volume. And both of those  
24 have problems, actually, and I'm wondering if -- you  
25 know, that's an area, I think, that ought to be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reviewed and maybe some effort ought to go into  
2 actually improving the T model. I don't know what  
3 your opinion is on that.

4 MR. KELLY: Well, I'd have to --

5 MEMBER RANSOM: That's come up here in  
6 terms of how the momentum equation is treated and  
7 where the losses lie and how you treat the elevation  
8 changes in that situation. Really important aspect.

9 MR. KELLY: Yes. And this is where I'm a  
10 little out of my depth, because I haven't looked into  
11 exactly how the T is done. But what I can tell you is  
12 that when we consolidated the jet pump model from  
13 TRAC-B to TRAC-M, TRAC-B had problems conserving  
14 momentum in a T, so in order to be able to do a jet  
15 pump, that basically didn't work because the momentum  
16 equation was dissipated, so they had to go in and put  
17 back the source term for the driver, okay? When we  
18 did that in TRAC-M, we don't need the extra term  
19 because the momentum equation is differenced in a  
20 different fashion, and it seems that it does a much  
21 better job of conserving momentum in a T.

22 MEMBER RANSOM: It's more like the  
23 modified Bernoulli equation that RELAP5 is based on,  
24 I guess, so that you preserve the change in the  
25 pressure with increase in area or change of velocity.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. KELLY: Yes and no.

2 MEMBER RANSOM: Del TRAC did not a good  
3 job of that.

4 MR. KELLY: It doesn't use a volume  
5 average velocity like RELAP5; it uses the V del V  
6 term. But on both the V and the del V there are  
7 modifiers based upon the difference between the  
8 junction and the volume area. And that seems to work  
9 pretty well, and there is a section in the theory  
10 manual that explains where that came from.

11 MEMBER RANSOM: Right. I think TRAC-P,  
12 they worked on that concept too, you know, to try to  
13 preserve the --

14 MR. KELLY: In MOD2, not in MOD1.

15 MEMBER RANSOM: Okay.

16 MR. KELLY: MOD1 uses the non-conservative  
17 form, which TRAC-P does as well --

18 MEMBER RANSOM: Right.

19 MR. KELLY: -- the V del V, but it didn't  
20 have the fix-up for the area changes, so any time you  
21 went through an area change, you would get more than  
22 the actual pressure drop. And that's not the case in  
23 TRAC-P now.

24 MEMBER RANSOM: I know from what we've  
25 seen in RELAP5 in some of the calculations yesterday,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it's not clear that the MOD3 version anymore behaves  
2 correctly. So it would be interesting even to look  
3 into that aspect.

4 MR. KELLY: Yes. So far, you know, in the  
5 assessments that have been done, we have not seen any  
6 very large recirculating flows in a downcomer, so the  
7 pumping term or whatever that appears sometimes to  
8 occur in RELAP5 we haven't seen.

9 MEMBER RANSOM: You haven't seen that in  
10 --

11 MR. KELLY: In TRAC, in TRAC-M

12 MEMBER RANSOM: Okay.

13 MR. KELLY: Now, on the other hand, we  
14 haven't yet gone and done some of the things like the  
15 OSU test where you have a large body of water  
16 basically sitting still with vapor above it.

17 MEMBER RANSOM: Right.

18 MR. KELLY: When we do those kind of  
19 tests, one of the things I'll be looking for is did we  
20 get any artificial recirculation patterns, and at that  
21 time we'll know.

22 I already mentioned this but it was the  
23 success metric, and that was that the simulation  
24 fidelity of TRAC-M must be at least as good as or  
25 better than each of the predecessor codes for their

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 targeted application.

2 CHAIRMAN WALLIS: Have you listed the  
3 difficulties with the previous codes that need to be  
4 resolved, like this sometimes suppressing momentum  
5 flux or something? Have you made a list of -- and Ts  
6 -- have you made a list of the things that weren't too  
7 good about the previous codes, rather than just saying  
8 simulation fidelity?

9 MR. KELLY: Well, this success metric was  
10 for the consolidation, and that's actually setting the  
11 bar pretty low, so that's not addressing the problems  
12 that are there, it's just saying we're going to be at  
13 least as bad as the predecessor codes.

14 CHAIRMAN WALLIS: Well, that's right.  
15 That's --

16 MEMBER RANSOM: And yesterday it seemed  
17 like with RELAP5 calculations, or the recirculating  
18 flows, which are a problem, there were -- break flows  
19 were poorly predicted and even questions about  
20 stability that -- there were no actual tests of  
21 stability but evidence in the calculations that  
22 possible instabilities. And we're wondering, are  
23 those -- well, I guess it remains to be seen whether  
24 those will be present in the present code, but we're  
25 also thinking that under the maintenance aspect some

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 of these ought to be corrected or found out what the  
2 root cause is, even in the existing codes.

3 MR. KELLY: Yes. I've looked at the  
4 momentum flux problem in RELAP5 before. I did this  
5 during the AP600 for why these recirculating flows.  
6 And it has to do with the way you define the volume  
7 average velocity. You know, if you're a single phase,  
8 you can come -- in a normal number of junctions on  
9 each end of the control volume, you can come up with  
10 something that makes a lot of sense. But once you go  
11 to a two-phase configuration and you have a branch  
12 component which sometimes is used for the lower plenum  
13 so it will have as many as eight junctions for the  
14 downcomer and then several junctions for the core all  
15 in this one volume and then you try to transfer  
16 momentum from one to the other, I thought that was a  
17 bad idea once that is taken to that extent. And so  
18 when we did the consolidation of, in effect, the  
19 branch component in TRAC, I kind of said, "No, we're  
20 not going to do momentum transfer for that. It's a  
21 large volume, it's going to act like a plenum, we'd  
22 lose the momentum and get a pressure recovery and then  
23 come back."

24 MEMBER RANSOM: That would be -- that's in  
25 the TRAC-M?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. KELLY: When we map a branch component  
2 that's what happens.

3 MEMBER RANSOM: You just throw away the  
4 momentum flux calculation, basically.

5 MR. KELLY: Well, you recover it as a  
6 pressure. But, yes, we don't try to get momentum flux  
7 from the junctions that are a downcomer to this branch  
8 to the junctions that represent the core.

9 MEMBER RANSOM: So that volume becomes  
10 like a stagnation point, in effect, yes.

11 MR. KELLY: Yes. Because it may not give  
12 the right answer but at least it doesn't go off and  
13 give a horrible answer.

14 MEMBER RANSOM: Interesting.

15 DR. MOODY: Joe, I just was sitting here  
16 thinking you've got a code that's going to be released  
17 about this time next year, and it will have been built  
18 up of components of whatever the state-of-the-art or  
19 the state of the codes are at that time. I think my  
20 short experience so far with ACRS shows that all these  
21 codes are living documents, they're going to be  
22 improved or corrected or changed. Will there then  
23 probably be a TRAC-M Plus 1 and thereafter it will a  
24 continual --

25 MR. KELLY: Yes. I'll be answering that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 as we go through the presentation. I think that's all  
2 I wanted to do here. But during this next year, the  
3 major effort is going to be on assessment and tying up  
4 the loose ends to release the code. And so next year,  
5 during next year, we can come one or two times and  
6 start showing assessment results. Steve is going to  
7 show the matrix that we're doing, and this is a  
8 consolidation matrix, and I don't know if he has some  
9 preliminary results or not, but starting, you know, in  
10 a few months, we can start coming and actually show  
11 you what the code does and doesn't do.

12 CHAIRMAN WALLIS: So Steve is going to  
13 take over part way through this bunch of slides here?

14 MR. KELLY: Well, I'm going to do that  
15 bunch; he has his own bunch.

16 CHAIRMAN WALLIS: Well, if you're going to  
17 do this bunch, then we better move along.

18 MR. KELLY: Right. And what I'm going to  
19 basically do is skip, just hit a few high points in  
20 the next one. These are our development objectives.  
21 Improve the architecture. And this is basically  
22 complete now with the exception of reducing the  
23 maintenance and that's improving basically the coding,  
24 and that's going to be something that's continuing.  
25 And what I mean is when we go in and fix a model or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 put a new model in the code or a new capability, we're  
2 going to do it in a much better way than the legacy  
3 code. And so, for example, the reflood model  
4 development that I'm doing now is in its own module.  
5 We tried to make Fortran look as much like an object-  
6 oriented code as we can, and so that's going to help  
7 a lot here on readability and also maintenance.

8 MEMBER RANSOM: When you give that as an  
9 example, though --

10 CHAIRMAN WALLIS: Is Fortran 90?

11 MR. KELLY: It's 95.

12 MEMBER RANSOM: Modularity is kind of an  
13 abused term, in my mind, because every Fortran code  
14 that's ever been written was modular in some sense.  
15 When you break into serve routines it has some  
16 modularity. But you mentioned the reflood model.  
17 Will it do its own fluodynamic calculations then so  
18 that everything is contained in that module?

19 MR. KELLY: No.

20 MEMBER RANSOM: No. So it has to be  
21 patched on to existing modules, to a degree, right?

22 MR. KELLY: Well, I'll give you an idea,  
23 a quick idea. It's going to have all of the  
24 constitutive models in it for wall heat transfer,  
25 interfacial heat transfer and interfacial drag having

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to do with reflood. They're all going to be in this  
2 module. The interface to track is through what's  
3 known as -- well, it's what are known as the module  
4 variables. The actual reflood module itself doesn't  
5 know that it's part of the TRAC code. It doesn't have  
6 to know a single variable name from TRAC.

7 MEMBER RANSOM: Nothing is passed down  
8 into it; is that right? Then how would you compute  
9 heat transfer? You need velocities, you need  
10 densities for the properties.

11 MR. KELLY: Well, those are set in TRAC.  
12 It's kind of a like a calling argument but a more  
13 efficient way of doing it. In TRAC, at the  
14 appropriate place, it sets these variables in a module  
15 --

16 MEMBER RANSOM: Okay.

17 MR. KELLY: -- sends it to the reflood  
18 module. So what this means is you can compile and  
19 debug and reflood module external to TRAC, because it  
20 doesn't have to know anything at all about TRAC, and  
21 you can put a little driver code where you send it  
22 pressures, mass fluxes and void fractions, check out  
23 the models independent of the rest of TRAC to make  
24 sure it have the correct expected behavior with those  
25 parameters. And that's a very good way of doing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 things, because you can test things a lot better, and  
2 you can also do development in parallel without  
3 getting in each other's way.

4 DR. BANERJEE: How parallelizable will the  
5 code be?

6 MR. KELLY: Well, what we've already done  
7 is put in what I'll call coarse grain using PBM, and  
8 so you can run multiple instances of TRAC on different  
9 processors. So you might have the vessel on one  
10 processor, a loop on another, PARCS on another. And  
11 then at certain points -- and this is one of the  
12 things that was done as part of the architecture.  
13 John -- Professor Mahaffy, if you will, formalized the  
14 data transfer in the code. He identified the times  
15 and there are 13 different times during the time step  
16 at which there's the potential for data transfer, and  
17 so he made those as synchronization points and  
18 identified what information has to be passed at each  
19 of those points, and those are now in -- they're  
20 actually something called -- I've forgotten the name,  
21 it's list control -- list-driven data transfers. So  
22 you just put a list of the variable names for each of  
23 these synchronization points, and then it makes that  
24 data available. So that makes it very easy to do the  
25 coarse grain kind of things.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           But also because of these synchronization  
2 points, between them there's no data transfer, say,  
3 between a hydraulic component and a heat structure or  
4 between one hydraulic component and another. So  
5 between those synchronization points you can then go  
6 to a fine grain, and that's what we're going to be  
7 looking at in the next year. And we're also, at the  
8 moment, looking at getting rid of PBM because it's  
9 fairly inefficient and using sockets as a way of doing  
10 it.

11           DR. BANERJEE: Or go directly to NPI,  
12 which has the sockets built in.

13           MR. KELLY: Well, NPI and PBM are the same  
14 -- are two colors of the same thing.

15           DR. BANERJEE: Yes.

16           MR. KELLY: So they both have the same  
17 inefficiencies. The sockets are closer to the  
18 hardware, but you really only have to treat two kinds:  
19 Posic sockets and then window sockets. And so by  
20 doing that, we can gain -- and at our last  
21 coordination meeting, John showed the efficiency gains  
22 you can get by, in effect, removing the middleman  
23 there. And it's substantial.

24           DR. BANERJEE: Will you be able to ground  
25 this on a cluster?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. KELLY: Yes.

2 DR. BANERJEE: It will automatically set  
3 up all the processes wherever it has to go.

4 MR. KELLY: Not automatically.

5 DR. BANERJEE: You need to tell it.

6 MR. KELLY: We have to tell it how many  
7 processors and what part of the mesh is going to go on  
8 which processor. But you can do that.

9 MEMBER RANSOM: Joe, along the lines of  
10 the architecture, how do you handle the numerics? You  
11 know, you mentioned the reflood model and the TRAC  
12 thermal-hydraulic calculation module, but there are  
13 some things like wall temperature and fluid  
14 temperature you'd like to be at new time, implicitly  
15 coupled. Have you gone to an iterative solution  
16 scheme so that you can implicitly couple whatever  
17 terms, I guess, that you want to be implicitly  
18 coupled?

19 MR. KELLY: Yes and no. One of the  
20 differences between TRAC and RELAP was there is an  
21 iteration scheme on the mass energy equations already.  
22 You know, RELAP, say if you're in the semi-implicit  
23 mode, it just does one shot at the mass energy  
24 equations and hopes the linearization was sufficient.  
25 In TRAC, it actually checks the convergence and we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1       iterate on the mass energy equations within a time  
2       step.

3               MEMBER RANSOM: So you have opportunity to  
4       update implicit features in code then.

5               MR. KELLY: Well, you could, but that's  
6       not done yet. But when you see my long-term  
7       development plan it's there, because that is one of  
8       the sources of problems sometimes is that you have  
9       inconsistencies when you go on to the next time step.

10              CHAIRMAN WALLIS: When you introduce these  
11       improvements does this increase the run time?

12              MR. KELLY: Yes and no. Typically, when  
13       you go to a -- when you look at your run time it's  
14       basically composed of two things, something called a  
15       grind time, which is how much CPU time it takes to do  
16       one time step for one computational cell. Obviously,  
17       as you go to a more sophisticated numeric solution,  
18       that's more implicit where you talk about iterating or  
19       solving a larger matrix equation, the grind time goes  
20       up. But if your code performance or robustness  
21       improves, and what I mean is you have less numerical  
22       oscillations -- well, there's two things, you can  
23       increase the time step size in two ways: One is  
24       violating the Courant number, which TRAC-M is already  
25       able to do because of the SETS method, but sometimes

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 even though in theory you can go to large time steps  
2 the code doesn't actually use them because it's having  
3 trouble. Say there's a lot of condensation, you know,  
4 one cell is going from condensing to flashing, when  
5 you improve those kind of things and sometimes the  
6 implicit coupling that Professor Ransom talked about  
7 will do that, then you're able to take ever larger  
8 time steps so the number of time steps you need to get  
9 through a given transient goes down, and you have  
10 large gains.

11 I have experience with the CATHARE code  
12 because I worked in Grenoble for a couple of years.  
13 The 1-D components in that are fully implicit, so when  
14 things are running very well -- so like for a forced  
15 reflood problem where you don't have to worry about  
16 the end oscillating, I've seen it use one-second time  
17 steps for a reflood transient, whereas we're more  
18 likely to use five milliseconds. That's a huge  
19 difference. When you can do a whole reflood transient  
20 in a couple hundred time steps as opposed to 20,000  
21 time steps, you know, you can spend some time per time  
22 step per cell to get those kind of gains.

23 CHAIRMAN WALLIS: I think we also get  
24 trouble with the traditional way, sometimes with the  
25 momentum equation, because of the acoustic waves

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 propagating, and of course that happens pretty  
2 rapidly, so you have to go back to very, very short  
3 time steps to catch those waves, which really don't  
4 affect many of the transients at all.

5 MR. KELLY: Right.

6 CHAIRMAN WALLIS: But because of the  
7 numerics you have to --

8 MR. KELLY: Well, actually, yes and no  
9 again. If you're interested in sonic wave  
10 propagation, you have to go down to a time step that,  
11 if you will, would be a sonic Courant number, and  
12 that's very, very small. But this is true of both  
13 RELAP5. They started out with something called a  
14 semi-implicit numerical scheme, which basically means  
15 that mass and energy and even momentum flux are  
16 conducted explicitly. But the pressure equation is  
17 solved implicitly for all of the cells simultaneously.  
18 So that gets rid of a sonic criteria, but it also puts  
19 in some damping of pressure waves.

20 So if you're going to do a pressure wave  
21 transient in a pipeline, you have to crank the time  
22 step way down. Otherwise you don't have to worry  
23 about that. Where we get into problems with pressure  
24 waves is it changes T-sat a little. And if your  
25 constitutive models magnify that, then you can end up

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 with noisier calculations than you'd like to see.

2 MEMBER RANSOM: Incidentally, along that  
3 line, have you put in -- you know, Mortenson, I think,  
4 did some -- made some real improvements to the  
5 equation of state in RELAP5 in recent years, and have  
6 you put that into TRAC?

7 MR. KELLY: Yes.

8 MEMBER RANSOM: You have, good, because  
9 that eliminates some of the problems of T-sat that can  
10 cause a problem with some of the models.

11 MR. KELLY: Yes. It wasn't so much T-sat  
12 but RELAP5 when it extrapolated into the meta-stable  
13 region --

14 MEMBER RANSOM: Yes, meta-stable.

15 MR. KELLY: -- the properties would be  
16 inconsistent and it would get mass errors. Now, with  
17 TRAC, we didn't have that problem so much, but what we  
18 had was that the equation for the liquid density when  
19 you got up to reactor operating conditions was not  
20 accurate enough for kinetics calculations. It's  
21 plenty accurate for large-break LOCA but not for  
22 kinetics.

23 MEMBER RANSOM: I know in the numerics  
24 they had spongy water too which was kind of  
25 questionable technique that was basically to try to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 stabilize some of the situation when you get near  
2 incompressibility, and I hope that you haven't --  
3 you've done away with those things.

4 MR. KELLY: I don't know. You'll have to  
5 ask Professor Mahaffy when he's standing here. I  
6 don't know everything about the code yet, I'm still  
7 learning.

8 CHAIRMAN WALLIS: I assume that you're  
9 answering all these questions is going to gain us time  
10 later on?

11 MR. KELLY: Well, I thought this was going  
12 to be the easy presentation, I was going to fly  
13 through in no time at all. I've already talked about  
14 the consolidation. That's basically complete. The  
15 only reason the large-break LOCA part isn't complete  
16 is because we judge -- this is the subject of this  
17 afternoon -- we judge the TRAC reflood model to be  
18 completely unacceptable, and so we're replacing it  
19 with an interim model. That development's almost  
20 finished, and we'll be testing it starting early next  
21 year.

22 CHAIRMAN WALLIS: That's the subject for  
23 this afternoon?

24 MR. KELLY: Yes. Well, not this afternoon  
25 but after the morning break, sorry. Hopefully it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 won't go to this afternoon.

2 I won't talk about SNAP. At some point  
3 soon, we'll have someone come and give you a  
4 demonstration. But that's been very important as far  
5 as trying to make this easier to run the code.

6 MEMBER RANSOM: Now, that's Ken Jones  
7 that's working on that?

8 MR. KELLY: Ken Jones -- Initially, the  
9 contractor was ISL.

10 MEMBER RANSOM: Right.

11 MR. KELLY: Then we switched to Ken Jones.  
12 That contract has expired, and it is now out for a  
13 competitive bid. So at the moment, we -- or as of  
14 January 1, we won't have a SNAP contractor, but the  
15 proposals are coming in.

16 MEMBER RANSOM: Where is Ken Jones, is he  
17 here in Washington?

18 MR. KELLY: He's in Pennsylvania  
19 somewhere, so he's not very far away.

20 One of the objectives was to improve the  
21 accuracy, and we know we're going to have some  
22 deficiencies in the physical models. That was not  
23 going to be part of the consolidation; that's part of  
24 the code improvement. And we've started that because  
25 of some deficiencies that we've uncovered and that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we'll talk about. An advance two-phase model. This  
2 means doing things like adding a droplet field but  
3 also looking at putting in interfacial area transport.  
4 And that's going to be done during this period. And  
5 then we also need to look at quantification of  
6 accuracy.

7 CHAIRMAN WALLIS: This means  
8 uncertainties? Are you going to try to carry them  
9 along in some way or are you going to evaluate them by  
10 running the code many, many times?

11 MR. KELLY: What I would probably do is  
12 what I refer to as the GRS method, which is similar to  
13 what the Siemens Framatome approach is.

14 CHAIRMAN WALLIS: Or the 59 runs type?

15 MR. KELLY: Or however many you want. But  
16 nowadays that's not, at least for large-break LOCA  
17 that's not such a burden.

18 MEMBER RANSOM: Well, there are some  
19 things you need to do to the code, actually, because  
20 things like maybe interface drag, or whatever models  
21 you believe there is uncertainty associated with them,  
22 then define a range of uncertainty, I mean it needs to  
23 be built into the code so somehow you can sample these  
24 things then.

25 MR. KELLY: Yes. You have to build in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 multipliers on those phenomena.

2 MEMBER RANSOM: Multipliers, whatever.

3 MR. KELLY: Yes. But the real burden in  
4 all of this is not doing -- if you use that type of  
5 approach, isn't the uncertainty quantification, you  
6 know, turning the crank however many calculations,  
7 it's determining the uncertainty in the individual  
8 models that you deem to be important. And that's  
9 where code assessment comes in, and that's where we  
10 really want to spend some time in the next few years.

11 CHAIRMAN WALLIS: You shouldn't just look  
12 at the traditional coefficients. If you're modeling  
13 the average B squared, you know it's bigger than the  
14 square of the average, so you might put in a  
15 coefficient there that you can then vary in some  
16 reasonable way.

17 MEMBER RANSOM: I'm a little concerned  
18 with even just putting multipliers on these terms,  
19 because multipliers sometimes won't give you, for  
20 example, let's say you have a range on a variable,  
21 high and low, min/max, but you want a uniform  
22 distribution, so statistically you want to sample that  
23 in that range uniformly. Now, that either means  
24 you've got to calculate a multiplier that will give  
25 you the equivalent of that, but it's not as simple as,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 say, varying the multiplier.

2 CHAIRMAN WALLIS: No. You've got to get  
3 statistical --

4 MR. KELLY: And that's why the GRS method  
5 is kind of nice, because what you do is for each for  
6 calculation, say it's 50 parameters which you want to  
7 vary, some being plant parameters, some the code  
8 parameters, for each one of those you've determined a  
9 range but also the shape of the distributions.

10 MEMBER RANSOM: Right.

11 MR. KELLY: You know, people typically use  
12 flat but --

13 MEMBER RANSOM: They don't know anything  
14 else.

15 MR. KELLY: Yes. But if they can justify  
16 it based on the assessment, you know, a distribution  
17 of a certain shape, be it normal or whatever, that's  
18 what you should use.

19 MEMBER RANSOM: Right.

20 MR. KELLY: So when you, in effect,  
21 construct an input deck, you sample all 50 of those at  
22 once using their distributions, set them, run the  
23 problem, do it again.

24 CHAIRMAN WALLIS: Flat is the most  
25 unlikely, it seems to me, and bell-shaped is the most

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 likely for most of those variables.

2 MR. KELLY: And flat penalizes you the  
3 most. So in default, that's what you go to.

4 CHAIRMAN WALLIS: Can we move on now?

5 MR. KELLY: Okay. And this also -- I  
6 talked about parallel, and this is things for the  
7 future, looking at high-order differencing methods.  
8 Level tracking, both 1-D and 3-D, is put in the code.  
9 That's a bit of a success story. And we also  
10 reinstated the semi-implicit capability in TRAC,  
11 because TRAC has sets which kind of semi-implicit's  
12 built into. But we put this back in for BWR  
13 stability, so that's a case where you don't violate  
14 the Courant number.

15 This is an example, this good old  
16 oscillating manometer problem, and what I'm going to  
17 do is show you what happens with the new level  
18 tracking. So this is a very simple problem.  
19 Actually, this looks like it's closed here, but  
20 actually it was connected to a pressure source, both  
21 of them were. Start with the liquid level displaced  
22 and let it go. Well, the analytical solution in this  
23 is wall friction's turned off, just goes on with this  
24 magnitude. TRAC was the black curve, and you see it's  
25 highly damped. You only get a few cycles and it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 basically stops. Of interest, there have been times  
2 with different versions of RELAP where I've seen it  
3 start with equal levels --

4 CHAIRMAN WALLIS: And get bigger.

5 MR. KELLY: -- and start. Haven't seen  
6 that with TRAC.

7 MEMBER RANSOM: A critical part of this is  
8 whether the frequency is correct, because you can  
9 analytically predict that.

10 MR. KELLY: And with the 1-D level  
11 tracking model --

12 MEMBER RANSOM: Okay. So you got the  
13 inertia right.

14 MR. KELLY: Yes. This was Professor  
15 Mahaffy and his Ph.D. assistant, Birol Aktas. And  
16 they got it working very well for 1-D. More recently  
17 they've put it in for 3-D components, and so I can now  
18 -- and some of the testing problems, these are  
19 actually 2-D components on each side, and do a  
20 manometer that way.

21 CHAIRMAN WALLIS: Well, you should really  
22 put a bend with several nodes on the bottom to see  
23 what you're getting that way.

24 MR. KELLY: That may actually have been  
25 one of the sample problems.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. MOODY: What is the natural frequency  
2 for that one or at least the frequency, looks like you  
3 have about 11 cycles over 50 seconds. I counted them.  
4 So that's about up 0.2 with a period of about five  
5 seconds looks like there, and the analytical  
6 expressions, do you remember what that --

7 MR. KELLY: Well, the analytical solution  
8 is the orange.

9 MEMBER RANSOM: It's a function of the  
10 length of the column.

11 DR. MOODY: The square root of  $G$  over  $2L$   
12 or something like that, isn't it? I guess it's been  
13 checked out.

14 CHAIRMAN WALLIS: It's like a Froude  
15 number, looks like.

16 DR. BANERJEE: What's interesting is the  
17 points are sampled, I suppose, on a much slower sine  
18 wave.

19 MR. KELLY: Well, some of this -- I don't  
20 remember what the time step was here, but some of the  
21 roughness is just when you plot it.

22 DR. BANERJEE: What are those little  
23 triangles?

24 MR. KELLY: Oh, those are just curve  
25 identifiers. Those aren't the points. You have, you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 know, 20 or so points coming up and down each of  
2 these.

3 DR. BANERJEE: But because they have some  
4 sort of a sine wave.

5 MR. KELLY: Oh, okay. Well, I --

6 MEMBER RANSOM: Well, oftentimes they make  
7 this comparison and you can compute the analytical  
8 solution on as fine a grid as you like, make a nice  
9 continuous curve while the other one is -- well, that  
10 may that not even be every point that's computed,  
11 because if these are plotted using NPA-type of graphic  
12 --

13 MR. KELLY: Right. You don't normally  
14 dump every time step to the graphics file.

15 MEMBER RANSOM: Yes. You sample,  
16 actually.

17 MR. KELLY: And that's what's done here,  
18 but I'm not sure what the sampling frequency was.

19 CHAIRMAN WALLIS: I think Sanjoy is  
20 looking at a sampling frequency there where you get an  
21 alias and you pick up an artificial frequency.

22 DR. BANERJEE: I'm just hoping that it  
23 wasn't sampled at that frequency.

24 MR. KELLY: Okay. This slide has to do  
25 with how we go about preserving legacy input models.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 SNAP is a graphical user interface, and this is TRAC-  
2 M. The input processor for TRAC-P, you know, reading  
3 an ASCII input deck, still in TRAC-M. At some point,  
4 we want to take it out and move it up to here, but for  
5 expediency's sake it was left in TRAC-M. When we did  
6 the TRAC-B consolidation, the capability of reading a  
7 TRAC-B deck directly, which is simply added, and  
8 that's because the modeling philosophies, the way the  
9 components are done, are the same between the two  
10 codes. So if you have either an old TRAC-P or TRAC-B  
11 deck, you can read them with TRAC-M and run them. You  
12 don't need the graphical user interface.

13 But if you come in with a RELAP5 deck,  
14 it's a much bigger deal. So the RELAP5 deck is read  
15 by SNAP, and the RELAP5 model editor, which is  
16 finished, can then display that deck, and you can go  
17 in and point and click and change things. It exports  
18 it in a platform independent binary file, which we  
19 call a RELAP5 TPR, for TRAC Portable Restart. There's  
20 a part added to TRAC which then is able to read this  
21 file and map the RELAP5 components to their TRAC  
22 equivalents. Then TRAC can export that back to SNAP  
23 using its own version of a TPR file. And the TRAC-M  
24 model editor is almost finished now, it's very close  
25 to being finished, so then you can bring in the TRAC

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 -- RELAP deck as a TRAC deck and edit it in SNAP. And  
2 then this is a two-way street, and so then you can run  
3 it. And the only part that hasn't been for the  
4 mapping is the control system, and that's underway  
5 right now.

6 MEMBER RANSOM: One thing of interest:  
7 TRAC always had a very poor input philosophy, and how  
8 do you build a new model in SNAP to build a TRAC input  
9 deck?

10 MR. KELLY: Well, if you've seen SNAP work  
11 at all, it's works basically the same for RELAP5 or  
12 TRAC, and what I mean is you --

13 MEMBER RANSOM: You can tell it to put a  
14 TRAC model, basically, and so you start filling in the  
15 components?

16 MR. KELLY: Yes. And so you just drag and  
17 drop the components on a palette, but then for each  
18 component you have to then go and find the data. So  
19 it's better than it was, but it's not as good as it  
20 needs to eventually be, because you still have too  
21 much information to put in.

22 MEMBER RANSOM: Too much meaning -- I mean  
23 some way you have to get the basic information in.

24 MR. KELLY: Right. But I mean you know  
25 how what you said that the TRAC input was poor?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER RANSOM: Right. It had a nameless  
2 type input and --

3                   MR. KELLY: Some of that's still there,  
4 but we're going to evolve to something better as we  
5 go.

6                   CHAIRMAN WALLIS: I think, Joe, the rest  
7 of this we have seen before, all the consultants have  
8 seen it. You can probably move through the next few  
9 slides pretty quickly.

10                  MR. KELLY: Okay. Here's where we are on  
11 the consolidation. Everything's just about finished  
12 except the assessment. We're just basically running  
13 a little late, and the so the assessment's going to  
14 start later than we had anticipated.

15                  DR. BANERJEE: Are you going to be  
16 incorporating things like what B.J. is doing at UCLA?

17                  MR. KELLY: Yes.

18                  DR. BANERJEE: How is that --

19                  MR. KELLY: Not part of that, but I'll  
20 show you.

21                  CHAIRMAN WALLIS: We're going to get there  
22 in Slide 19.

23                  MR. KELLY: There are only two -- as part  
24 of the consolidation, the idea was consolidate the  
25 capabilities, use the existing physical models, don't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 improve them. Well, we ran into two snags. When we  
2 were doing the TRAC-PARC coupling in doing a Peach  
3 Bottom turbine trip, we weren't able to have a good  
4 enough prediction of the axial void profile in a BWR  
5 for the kinetics, so we made the decision to implement  
6 the TRAC-B interfacial drag in subcooled boiling  
7 models. That had actually been done kind of in a  
8 hard-wired way, it worked out very well, so now we're  
9 putting it in -- you know, coding it in, and that will  
10 be in by the end of this year.

11 Also, as I'm going to talk about later,  
12 the reflood model is totally unacceptable, and that's  
13 mainly because of large oscillations. And so we're  
14 coming up with an interim reflood model. We did not  
15 intend to do this, but we're basically forced to in  
16 order to have meaningful calculations in the near  
17 term.

18 The first thing was improving the fine  
19 mesh model when they upgraded the way the heat  
20 structures are done in TRAC, and there were some bad  
21 decisions made about how to do this. I'll talk about  
22 this more later, so I'll --

23 MEMBER RANSOM: By fine mesh, you mean in  
24 the conduction solution?

25 MR. KELLY: The way we handle reflood, for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the hydrodynamic cells they stay the same. They may  
2 be on the order of 20 centimeters long to half a meter  
3 depending upon how coarse a description you want to  
4 use. And, obviously, that doesn't resolve anything at  
5 the quench front, especially axial conduction. So  
6 something I did about 25 years ago was come up with  
7 something I called the Fine Mesh Rezoning Model, and  
8 it's really an adaptive grid technique that's applied  
9 to the heat structure, and I just didn't know the term  
10 "adaptive grid" at that time. So that's what it does.  
11 Based upon local temperature gradients or heat flux  
12 gradients, it makes a decision as to whether or not to  
13 refine or coarsen the mesh just for the conduction.  
14 And that includes the 2-D conduction.

15 DR. BANERJEE: Now, these oscillations,  
16 they are non-physical oscillations, because in reflood  
17 there are oscillations that occur.

18 MR. KELLY: Right. Which in theory are  
19 equations and constitutive models should time average  
20 out. Excuse me, you're talking about bigger.

21 DR. BANERJEE: Yes, long-term  
22 oscillations.

23 MR. KELLY: Yes. I'm talking here about  
24 --

25 DR. BANERJEE: With very high frequencies.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. KELLY: -- a FLECHT SEASET test with  
2 a force flow, no downcomer.

3 DR. BANERJEE: Okay.

4 MR. KELLY: And I'll show you this, I'll  
5 show you those calculations in the next presentation.

6 DR. BANERJEE: I have another question:  
7 Do you track the front at all in the reflood, because  
8 there's a lot of problems with numerical carryover  
9 that occur otherwise because of the smearing. And if  
10 you have a tube being filled, you get carryover when  
11 you shouldn't be getting it.

12 MR. KELLY: That's the idea of the level  
13 tracking, and we don't know yet how that's going to  
14 work with reflood, and we'll discover it in the next  
15 few months.

16 CHAIRMAN WALLIS: I think there is  
17 physical smearing because of entrainment too, it's not  
18 just numerical smearing.

19 DR. BANERJEE: Well, I mean the real  
20 smearing is fine if there's entrainment, but if you  
21 try to refill a tube, let's say a cold tube, that's  
22 always a good test, you'll see that you get carryover.

23 MR. KELLY: That's the purpose of the  
24 level tracking, and that seems to be that we don't  
25 have that. But how level tracking is going to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 interface with reflood, in a few months I'll be able  
2 to answer that.

3 CHAIRMAN WALLIS: Well, we heard Larry  
4 Hochreiter last week or whenever it was, very  
5 recently, and I think the Committee felt that you  
6 shouldn't wait for two years before someone tried to  
7 use the data to influence TRAC-M but that the  
8 efficient way to do it was to start right now --  
9 analyze the data and what you need for TRAC-M at the  
10 same time as the data was being produced. That was  
11 much more efficient.

12 MR. KELLY: Yes. And that's really the  
13 subject of the next presentation -- of my second  
14 presentation, so let's discuss that then.

15 CHAIRMAN WALLIS: Are you going to  
16 reassure us on that point?

17 MR. KELLY: As best I can.

18 DR. BANERJEE: There's one other point,  
19 Joe, that came up in the last few meetings. There  
20 were three areas: subcooled boiling, reflood and then  
21 this condensation stuff. Yesterday, there was this  
22 stuff about the difficulties with the region where the  
23 ECI is coming in. And are you going to do something,  
24 because it seems that heat transfer is very poorly  
25 modeled in that region.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. KELLY: Well, we will be doing --  
2 well, there's an Upper Plenum Test Facility cold leg  
3 injection test to look at condensation in cold leg.  
4 I don't remember the test number. We will be  
5 simulating that with TRAC, and we'll see how good or  
6 well it does. Later on, as we expand our assessment  
7 matrix, there was some -- I don't remember if it was  
8 EPRI and B&W, but it was one-third scale cold leg  
9 injection test for both accumulator flow rates and  
10 HPSI flow rates. And as soon as we can get that data,  
11 we'll add it to the assessment matrix as well. And so  
12 try to make sure we have a good job of what the  
13 condensation that occurs there.

14 MEMBER RANSOM: Well, along that line,  
15 does TRAC-M permit you to -- I mean from yesterday's  
16 discussion, it was clear that the cold leg sometimes  
17 needs to be modeled multi-dimensionally in order to  
18 predict thermal stratification phenomena that are  
19 occurring there and mixing. And in TRAC-M, can you  
20 have multi-dimensional vessel components so you could  
21 model that cold leg, I guess, multi-dimensionally and  
22 then hook it to the vessel?

23 MR. KELLY: In theory, yes. You can have  
24 more than one vessel component, and we'll be doing  
25 that in the ESBWR, for example. The reality, though,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is TRAC is not a CFD code.

2 MEMBER RANSOM: Right, I understand.

3 MR. KELLY: And so when you start  
4 nodalizing a pipe as if it were a CFD code, there's a  
5 lot that the constitutive model -- I mean it doesn't  
6 have viscous and turbulent sure stress density to  
7 begin with.

8 MEMBER RANSOM: Oh, I understand that.

9 MR. KELLY: And if you then let that  
10 horizontal pipe go two-phase like we saw in the AP600,  
11 your flow regime, yes, it's going to try to -- for  
12 each of those small nodes, it's going to try to  
13 identify a flow regime, and of course a flow regime is  
14 indicative of the entire pipe. So that's a research  
15 project, okay?

16 CHAIRMAN WALLIS: It will put in a wall  
17 drag when there isn't any contact with the wall and  
18 things like that.

19 MR. KELLY: Yes. So that would be a  
20 research project, and anyone that thinks you can just  
21 change the noding and get the right answer, you may  
22 get a better answer but you're not going to get the  
23 right answer.

24 CHAIRMAN WALLIS: I think you're getting  
25 so many questions you're going to run until the break,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and I'm going to have to figure out how we go the rest  
2 of the day.

3 MR. KELLY: And like I said, I thought  
4 this was going to be the easy presentation.

5 This is what we're going to do next year,  
6 and the idea is we start with the code alpha release.  
7 We've taken a first pass through the assessment, we're  
8 going to look through, identify where there are  
9 deficiencies in the assessment and target whatever,  
10 either numerics, either the problem didn't run or ran  
11 real slow or a deficiency in a physical model, make  
12 those improvements, completely repeat the assessment,  
13 then ask the question do we make it through the entire  
14 assessment matrix as good or better than the  
15 predecessor codes? If the answer is yes, we go to the  
16 official code release. It's also during this period  
17 of time we have to update the documentation.

18 Steve is going to talk about the  
19 assessment. The only point I want to make here is we  
20 looked at the assessment matrices for each of the  
21 individual codes, and we basically combined them. And  
22 what we will be doing is code-to-code comparisons.  
23 This was with reflood and so we don't do reflood for  
24 RELAP5 because that wasn't its mission, but we'll be  
25 repeating these tests with TRAC-B, TRAC-P and TRAC-M

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and doing code-to-code-to data comparisons.

2 DR. BANERJEE: Is the point that you're --  
3 all those are pretty large experiments. There's a lot  
4 of careful experiments done with simple geometries  
5 like tubes or things like that, and I think it would  
6 be worthwhile having at least some subset of those in  
7 there, because there the measurements are very  
8 precise. We've got void fractions, we've got precise  
9 temperatures and stuff like that.

10 MR. KELLY: I agree.

11 DR. BANERJEE: And precise measurements of  
12 carryover.

13 MR. KELLY: And you're going to see me use  
14 a lot of those tests in the model development in what  
15 I'll be talking about this afternoon. And you're  
16 right, we should then bring those tests over, and I  
17 plan to. They just won't be part of the consolidation  
18 matrix, because that basically said what have we done  
19 before; let's repeat it. But, obviously, that's not  
20 sufficient to be the only assessment we ever do.

21 DR. BANERJEE: No, no. It can only be  
22 complementing this stuff.

23 MR. KELLY: Right.

24 MEMBER RANSOM: One thing that I'd like to  
25 encourage you to do is to include in the assessment

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 what I'll call phenomenological problems, like the  
2 manometer problem that you just showed. These are  
3 very instructive in terms of showing the correct  
4 behavior of the code under at least situations where  
5 we know pretty much what the answer looks like. And  
6 Ts, loops, static problems, hydrostatic problems, a  
7 lot of these are very simple to run and can be very  
8 insightful in terms of just clearing elementary  
9 problems.

10 DR. BANERJEE: Does SCTF have large  
11 oscillations?

12 MEMBER RANSOM: Huh?

13 MR. KELLY: Well, let me answer his  
14 question. I agree completely. There are a few cases  
15 that we've brought over from what was done before.  
16 We're going to expand that. Like the multi-phase  
17 science and technology benchmarking kind of problems.

18 MEMBER RANSOM: Right.

19 MR. KELLY: I agree. We need to really  
20 expand that and make sure the code's doing  
21 fundamentally what's right, whether it's a horizontal  
22 stratified flow, whatever.

23 MEMBER RANSOM: Like a variable area pipe  
24 so you know whether or not the diffuser would behave  
25 correctly. And a lot of these can be done and checked

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and give reassurance that fundamentally the thing is  
2 okay.

3 MR. KELLY: I agree.

4 DR. BANERJEE: Well, there's Graham's  
5 famous single-phase problems.

6 MEMBER RANSOM: Well, sure.

7 MR. KELLY: And those are very, very good  
8 things for university contracts. It's good for the  
9 students, and it's a good way for us to get those  
10 problems in.

11 MEMBER RANSOM: Well, it's, I think,  
12 important to build up a package of these so you can  
13 almost automate the running when you have them in your  
14 package.

15 MR. KELLY: Well, we have an assessment --  
16 I won't call it an assessment but a software quality  
17 assurance program which has an automated testing, and  
18 there are a lot of those that are in that, and the  
19 testing at this point in time is for differences. So  
20 if you were to make a code improvement that should  
21 have null effects on the answers, then you run this  
22 entire suite, and it's like 700 problems now that are  
23 run, and then it checks for differences --

24 MEMBER RANSOM: Right.

25 MR. KELLY: -- and spits out whichever

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 problems have significant differences, and then you  
2 have to go look at those.

3 CHAIRMAN WALLIS: Are you going to give  
4 this code to universities so that students can just  
5 run it and then you will get a lot of input from sort  
6 of standard problems, simple problems, and you'll find  
7 you may learn a lot that way.

8 MR. KELLY: Yes. And one of the decisions  
9 that we made -- well, you know, we have the PUMA  
10 facility at Purdue University, so the ESBWR PUMA  
11 assessment is going to be done by students there. It  
12 was cost-effective for us, it's the people that know  
13 the facility, and so that was a good way to go.

14 CHAIRMAN WALLIS: You probably give it  
15 away --

16 MR. KELLY: It's published --

17 CHAIRMAN WALLIS: -- and then the  
18 University could run it on non-nuclear problems.

19 MR. KELLY: Right.

20 CHAIRMAN WALLIS: Which will also be a  
21 good test.

22 MEMBER RANSOM: And one important thing I  
23 think out of all this dispersed effort, though, is  
24 that you have a nucleus somewhere, and I guess you're  
25 developing it here --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. KELLY: We're trying to build that  
2 expertise here.

3 MEMBER RANSOM: -- somehow to retain that  
4 capability.

5 MR. KELLY: And you see people like Steve  
6 coming on board, myself coming back and then some of  
7 the younger people that we're trying to groom to fit  
8 specific areas. That's like why I have Wei Dong  
9 working closely with me so he can start coming up to  
10 speed on what the physical models are or should be,  
11 what the extant database is. So we're trying to grow  
12 that capability. Question on SCTF?

13 DR. BANERJEE: The gravity reflood, did it  
14 have oscillations, do you remember?

15 MR. KELLY: It does. If I recall, they  
16 get damped out after several cycles. Then there's a  
17 small -- but the large-scale one -- it doesn't have  
18 large-scale oscillations except for the first few  
19 cycles.

20 DR. BANERJEE: Is that realistic, because  
21 I know that with FLECHT I guess they have to try to  
22 damp these, and at Winfrith they did two to keep the  
23 constant reflood, which they forced as an inlet  
24 condition. But in real life, this thing is going to  
25 oscillate because the downcomers and gravity flow.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MR. KELLY: Yes. Well, SCTF, especially  
2 the gravity reflood cases here, it's a very large-  
3 scale facility. There are 2,000 heater rods. It  
4 models eight bundles going from the core center line  
5 -- they're in a slab geometry going from the core  
6 center line to the downcomer, and then it has a  
7 downcomer and a lower plenum that's all correctly  
8 volumed and height-scaled or close to it. And so it  
9 is a gravity --

10           DR. BANERJEE: But you need a resistance  
11 to the full going out, so is it correctly modeled in  
12 order to give you this, do you remember?

13           MR. HULL: They have a mock-up of the  
14 steam generator that looks more like a steam  
15 separator, so you don't have the steam binding  
16 associated with evaporating the drops, but what you  
17 have is, in effect, an orifice plate that they trade  
18 in and out to give them different loop resistances on  
19 the hot leg. And so there are different tests with  
20 different hot leg resistances. So that's there.

21           DR. BANERJEE: Okay.

22           MR. KELLY: This is the long-term  
23 development plan in a snapshot. There's a color  
24 scheme here. Everything in this light blue color is  
25 going to be part of the initial code release at the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 end of next calendar year. Likewise with the green  
2 and the yellow and then further out in the future. So  
3 the idea is to release a new code version on a yearly  
4 cycle.

5 CHAIRMAN WALLIS: I think you're also  
6 going to do work on gas-cooled reactors and that sort  
7 of thing.

8 MR. KELLY: That's up in the air at the  
9 moment. We were going to do the HTGR as part of TRAC  
10 because of the early submittal with the pebble bed.  
11 That isn't going to happen, and so I'm not part of the  
12 --

13 CHAIRMAN WALLIS: It's not part of your  
14 plan now.

15 MR. KELLY: Not part of the plan now. But  
16 what is part of the plan is doing assessments and  
17 calculations for AP1000, getting the code to work with  
18 ESBWR, and you'll notice this little box that got put  
19 in with condensation with non-compensable gases, both  
20 for the PCCS and the suppression pool, that's for  
21 ESBWR. Right after the ESBWR is the STWR-1000.  
22 Following right on the heels of that is CANDU, the  
23 ACR-700.

24 CHAIRMAN WALLIS: So it's all light water  
25 reactors.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MR. KELLY: And what actually the eventual  
2 approach will be --

3                   CHAIRMAN WALLIS: One is the heavy water  
4 reactor.

5                   MR. KELLY: Well, actually, it's a light  
6 water cooler now, the ACR-700. It's light water-  
7 cooled, heavy water-moderated. What the eventual  
8 approach will be for, say, the MHTGR, I'm not sure  
9 what the decision has been on that.

10                   I had a question earlier about the UCLA  
11 work. That's right here, so we'll be putting it in at  
12 the beginning of this next calendar year, and it will  
13 be part of a code release. The same with the OSU  
14 phase separation test, the ATLATS facility. And then  
15 I also have to look at low pressure interfacial drag  
16 in rod bundles.

17                   I've done this by physical models,  
18 numerics and modeling capabilities. One of the things  
19 that got added was the capability of advanced BWR  
20 fuel, and that's having water rods inside the BWR CHAN  
21 component that are actually flow paths, but also  
22 having part-length rods and how that will then feed  
23 back to the kinetics.

24                   CHAIRMAN WALLIS: Can you advance the  
25 reflood into that period too, the reflood modeling?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I think now it's not supposed to start until --

2 MR. KELLY: Yes. This is the interim.

3 CHAIRMAN WALLIS: It's the interim, but I  
4 mean learning from what's going on at Penn State.

5 MR. KELLY: The way that interaction has  
6 worked, Steve and I are technical monitors for that,  
7 so we go up for every meeting, we review the data, we  
8 review the test procedures, we design the test matrix,  
9 not the experimenters, and we also made changes to the  
10 instrumentation that they use.

11 CHAIRMAN WALLIS: Unless you try to put it  
12 into TRAC you won't really know what you need, so you  
13 can design the test measurements you like. Until  
14 you're working with it you're not really sure if  
15 you're getting the right stuff.

16 MR. KELLY: Delay to the next  
17 presentation.

18 CHAIRMAN WALLIS: Okay.

19 MR. KELLY: This was going to be done  
20 here. It got delayed for a year for two reasons. One  
21 is the actual experimental facility is way behind  
22 schedule. They were supposed to have a lot more done  
23 by now than they have accomplished, and then we've had  
24 a funding reduction, so we've stretched their schedule  
25 out. So what they're going to deliver experimentally

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 you're going to see dates out to 2007, okay? The  
2 other reason this got delayed for a year, we had  
3 intended to start it here, is because of this work,  
4 because, basically, the same people are going to do  
5 that.

6 MEMBER RANSOM: Who's doing the  
7 condensation work?

8 MR. KELLY: I will be.

9 MEMBER RANSOM: Do it here, you mean?

10 MR. KELLY: Yes.

11 MEMBER RANSOM: So it's being delayed?

12 MR. KELLY: Oh, no, not the condensation  
13 work, the so-called mechanistic reflow development.

14 MEMBER RANSOM: Yes, right. But weren't  
15 you talking about the condensation?

16 MR. KELLY: Well, the data is already  
17 extant. If you look at the tests done at UCB -- well,  
18 fundamental tests at UCB and MIT, then there's things  
19 like the I'll get the PANTHERS experiment in Italy.

20 MEMBER RANSOM: Oh, this is just the  
21 modeling.

22 MR. KELLY: Yes.

23 MEMBER RANSOM: Okay. There are no  
24 experimental programs, you're saying.

25 MR. KELLY: No, this is not an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 experimental program for the ESBWR, because that  
2 database was developed for the SBWR. When we start  
3 looking at the SBWR-1000, then we may -- you know,  
4 that horizontal condenser sitting open in the  
5 containment with fins are on it -- or, actually, I  
6 don't know if the fins are in or out this week -- but  
7 the database doesn't exist that I know of for that.  
8 And so we may want to have some confirmatory research  
9 to help us have a code model for that, but I don't  
10 know that yet. Okay?

11 This is really -- so this was delayed a  
12 year because the same people that are going to do this  
13 work are now going to do this work for the ESBWR. And  
14 this was judged to be of a higher immediacy.

15 The numerics improvements are here. I had  
16 a question earlier from Professor Ransom about making  
17 more tightly coupled implicit between the heat  
18 structures and the hydrodynamics and also for the  
19 interfacial heat transfer. That's going to be done  
20 here in 2003. We're also going to add a droplet  
21 field, and this is really necessary for this work.  
22 And we can talk about it a little bit this afternoon  
23 if we need to. We're also going to make improvements  
24 to the energy equation so we don't have the energy  
25 loss when you go across a junction with high pressure

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 difference, so basically go to an enthalpy form of the  
2 energy equation so we don't get that.

3 We're looking at high-order differencing  
4 which will be used both for boron tracking and thermal  
5 fronts, because those all have to do with stability  
6 kind of things or a shutdown. And then look at making  
7 the entire 1-D components fully implicit as they are  
8 in the CATHARE code. And that's where you do an  
9 iteration through the constitutive models instead of  
10 just doing the constitutive models once per time step.  
11 And then looking at ways to do the 3-D fluid solution  
12 in a more implicit form.

13 MEMBER FORD: You have a very, very  
14 ambitious time schedule there, given the fact that  
15 there are several reactors up for certification or  
16 pre-application. You also pointed out that a lot of  
17 the work is being done at universities. What has your  
18 historical experience been in terms of the time limits  
19 of that work being completed?

20 MR. KELLY: I would probably say it  
21 depends, and it depends on what work you give them and  
22 who the contractor is. For example, at Penn State  
23 University, we have John Mahaffy. John was one of the  
24 initial developers of the TRAC code, and he was the  
25 originator of the SETS numerical method. No one knows

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 TRAC -- that part of TRAC like John.

2 MEMBER FORD: Okay.

3 MR. KELLY: Now, we're trying to bring Joe  
4 Staudenmeier, who's a staff member, along to learn  
5 that. That's what we've done, we've targeted pieces  
6 of the code for each staff member. But John has a  
7 great feeling of ownership for the code, as we all do  
8 with things we've worked on, and so when we have --  
9 give him a problem whether it's an AP1000 deck or  
10 whatever and say, "Look, this thing just isn't  
11 working," he'll work on it until the wee hours of the  
12 morning. Now, when you talk -- and so a lot of the  
13 things turn around very, very quickly, but if you want  
14 to look at something like high-order differencing  
15 schemes and you want to investigate several different  
16 methods, find out which is the best method in, say, a  
17 stand-alone mode before you implement it in TRAC, then  
18 it's best to give them some amount of time so that the  
19 student can have a learning curve and then actually  
20 make a significant contribution.

21 MEMBER FORD: So that's been factored into  
22 your time.

23 MR. KELLY: You just have to try, yes.  
24 You know, it's likewise for the parts, which is  
25 Professor Downar at Purdue, has done a very good job

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 for us, and he's very responsive to getting things  
2 done. And you just do the best you can. But that's  
3 where a lot of the talent is now. The people that  
4 worked at the labs ended up at universities for a  
5 number of reasons.

6 MEMBER RANSOM: For something as  
7 fundamental as high-order differencing, I'd think  
8 you'd want to put it on a five- to ten-year time  
9 scale. If you want to look at history and what it's  
10 taken, you know that -- I mean this thing's been  
11 talked about for 20 years and nobody, to my knowledge,  
12 has ever successfully implemented it into a systems  
13 code. The Germans have been big fans of that. I'm  
14 not sure where the French stood, although they liked  
15 most of the characteristics and some other more exotic  
16 numerical techniques.

17 Along that line, do you have a good idea  
18 of where CATHARE is today? Are they fairly robust and  
19 able to do a lot of these problems or are they still  
20 having trouble too?

21 MR. KELLY: I honestly don't know. I  
22 haven't been to a CATHARE meeting in a while.

23 CHAIRMAN WALLIS: It seems to me, Joe,  
24 that if these advanced reactors move up their  
25 schedule, so suppose gas-cooled reactors come back,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 then you may be required to give input much earlier  
2 than you're planning to be ready in which case can you  
3 hire more people or something? Can something be done  
4 to move things up if you need to do so?

5 MR. KELLY: Within limits.

6 MR. ROSENTHAL: Let me try a little bit.  
7 The advanced reactor budget and the code improvement  
8 budget are separate budgets. That's not to say that  
9 it's -- the hard thing is finding good people. But  
10 we'll fund the advanced reactor work that we have to  
11 do, and I think it's actually healthy now that we're  
12 going to be using TRAC-M for ESBWR. I think that's a  
13 good thing. And that we're doing some TRAC-M work for  
14 AP1000 I think is a good thing to incorporate to get  
15 the Agency using the tools, et cetera. So if that  
16 displaces some of the current development in the net,  
17 I don't think that's a bad thing.

18 We do have to prepare, this came up  
19 before, for ACR-700. We do have to prepare for HTGR  
20 and building infrastructure, we've written the  
21 advanced research plan. And one of the, I think,  
22 lessons learned from AP1000 and ESBWR is you just  
23 can't start too soon on building the infrastructure.  
24 So we know that we have to take these things on.

25 MR. KELLY: I'm constantly lobbying my

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 manager to get a couple new people because we've lost  
2 a couple people over the last year.

3 DR. BANERJEE: I wanted to ask you about  
4 the droplet field, Joe. I mean in many situations  
5 that I know of, you don't have things like annular  
6 flow where droplets and liquid film coexist, and I  
7 don't think that's your intention in the reflood part  
8 of this. Where you've got reflood you've basically  
9 got something like inverted annular flow, and then  
10 you've got some droplet field above. I wonder if it's  
11 worth all that work to put the droplet field in. I  
12 mean how well can that be justified?

13 MR. KELLY: Two things: It's not a lot of  
14 work to begin with; second, it gives you some enormous  
15 benefits. Obviously, once you get to something like  
16 the upper plenum where you want to look at carryover  
17 to the hot leg and you have drops sweeping across  
18 these structures, some of the drops hitting the  
19 structures and falling back down to a pool, you really  
20 need to be able to model a pool and a missed flow  
21 above the pool. That's very hard with just a simple  
22 two-fluid code where you start to jimmy up the  
23 interfacial drag to make it think it's part of a pool  
24 and partially these drops. You can't --

25 DR. BANERJEE: But this is a multi-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 dimensional problem you're talking about.

2 MR. KELLY: Yes, but remember our nodes  
3 are pretty big, okay? So we'd have a pool and drops  
4 in the same volume. But aside from that, you're right  
5 about if you look at an individual channel, that you  
6 have a transition between the two, and then above that  
7 the drops could just be the normal liquid field. But  
8 what you gain with the droplet field is the capability  
9 to have an interfacial area transport equation from  
10 the droplets, because you need to bring over a mass  
11 source and an interfacial area source at the same time  
12 in order to be able to do that. And if you do that,  
13 you can then trace the evolution of a drop diameter  
14 from where it was created as it evaporates and also as  
15 some portion of the drops hit the grids and are  
16 shattered.

17 That's what we were able to do in COBRA-  
18 TF. With a two-fluid code, without the droplet field,  
19 you're always hearing what is the drop diameter, how  
20 would I estimate it? And you end up estimating it  
21 based on local fluid conditions, which are not  
22 necessarily representative at all of where the drop  
23 was actually formed or whatever history that drop has  
24 undergone between that point and where you see it up  
25 here.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 DR. BANERJEE: Right. But that's a  
2 separate equation. I mean you can capture that with  
3 an interfacial area transport equation. You don't  
4 need an additional field in the multi-field model to  
5 do that. I can write an interfacial area equation, I  
6 can write a single-gap vapor equation, I can still do  
7 that.

8 MR. KELLY: It's very hard to do the  
9 transition from this continuous liquid to the droplets  
10 and get that interfacial area transport right,  
11 especially because you do have a situation where you  
12 have the liquid coexisting in two completely different  
13 forms.

14 CHAIRMAN WALLIS: You can get the area  
15 right, but the velocities are completely different.

16 MR. KELLY: Well, he excluded the case of  
17 like annular mist.

18 DR. BANERJEE: Yes. That's a different  
19 problem.

20 MR. KELLY: But that's the other reason  
21 that you want it. And my experience, because I was  
22 part of the Development Team at Patelle when we went  
23 from a two-fluid to droplet. The droplet made it much  
24 easier to model the physical phenomena correctly, and  
25 rather than being a performance penalty the code

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 actually ran faster. You know, the grind time was a  
2 little bit higher but not much, but the time step size  
3 went up. And the reason it did was we weren't having  
4 to play all these games with interfacial drag on  
5 these, trying to make liquid look like films and  
6 droplets or pools and droplets.

7 DR. BANERJEE: The problem you run into is  
8 you need a lot more in the way of closure  
9 relationships once you --

10 MR. KELLY: I'll argue that one with you,  
11 because if you look at the way either RELAP or TRAC  
12 handle something like annular mist, they have all the  
13 equations, save for annular film, the constitutive  
14 models, they have the same set for the droplets, and  
15 then they have a weighting factor between the two,  
16 which is totally fictitious. Whereas as with the  
17 three-field, you have the same set of constitutive  
18 models for the film and you have the same set of  
19 constitutive models for the drops. You don't need  
20 anything different.

21 DR. BANERJEE: Now you need an entrainment  
22 --

23 MR. KELLY: Entrainment, right.

24 CHAIRMAN WALLIS: It's the difference  
25 between the two.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. KELLY: Right, but you're doing an  
2 entrainment rate instead of a fraction of liquid  
3 entrained. So the number of constitutive models are  
4 the same but their implementation is more  
5 straightforward.

6 CHAIRMAN WALLIS: Let's see you do it.

7 MR. KELLY: I've done it before, and we'll  
8 do it again.

9 DR. BANERJEE: COBRA-TRAC does it already.

10 MEMBER RANSOM: So this is a three-field  
11 model in the vapor field and two-liquid fields?

12 MR. KELLY: Yes. And what we did in  
13 COBRA-TF was the liquid only had -- the two-liquid  
14 fields shared the energy equation, the thing being  
15 that the interaction between the film and the drops is  
16 large enough that you considered the film and the  
17 drops to essentially be at the same temperature.

18 CHAIRMAN WALLIS: This is okay for things  
19 like straight pipes. When you get to bends or Ts, the  
20 droplets and the film do completely different things,  
21 you get re-entrainment and deposition, all sorts of  
22 stuff, and you need then to figure out how to handle  
23 those things.

24 DR. MOODY: Could I just reinforce one  
25 thing? The offer or the suggestion was made earlier

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 about maybe involved ACRS and just helping you in some  
2 way. You've got some high-powered help at some of the  
3 universities, really competent it sounds like, and  
4 there's apparently a tremendous depth of passion on  
5 these various aspects like bubbles and drops and so  
6 on. But perhaps there are a few blind spots that this  
7 Committee could assist with if we did see the  
8 documentation at some stage, and whatever your plan is  
9 for that I'd just like to reinforce that I see these  
10 phenomena mentioned here and I know some of us get  
11 very wiggly inside when we see that and say, "I know  
12 something about that, maybe I can help."

13 MR. KELLY: Yes. I would like to use this  
14 Committee, to some extent, as a peer review. And so  
15 when I'm talking about this interim reflood model,  
16 what you're going to see, I'm going to come probably  
17 next spring sometime and we're going to have a day-  
18 long meeting and we're going to go through every model  
19 I've proposed, where the model came from and how it  
20 performs and give you a chance to give us some  
21 feedback.

22 DR. MOODY: Great.

23 MR. KELLY: Because like you said, there's  
24 a lot of expertise here, and we need to mine that  
25 whenever we can.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. MOODY: Plus the fact that I think  
2 this Committee or one like it will be listening to  
3 presentations for years to come that have been run on  
4 this program, and at least if we disagree strongly  
5 with something, we will be able to say we may be  
6 disagreeing with ourself in some way.

7 MR. KELLY: Yes. I think that's a very  
8 good suggestion, and I intend to do it.

9 CHAIRMAN WALLIS: We've got to keep  
10 moving.

11 MR. KELLY: Yes. I'm going to really hit  
12 these next three slides very quickly. This was my  
13 crystal ball. Now, I showed a development plan, and  
14 there were some boxes that said BWR improvements, PWR  
15 small-break improvements and large-break improvements.  
16 But based upon what I know about the codes as they are  
17 today, where do I think we have deficiencies in  
18 modeling, and that's this list for BWRs. And you'll  
19 note the modern fuel design, the thing that we're  
20 actually already doing, is the result of the user  
21 need. Small-break LOCA --

22 CHAIRMAN WALLIS: They're for spacers and  
23 all that sort of thing. Spacers have an effect.

24 MR. KELLY: And grid spacers are a very  
25 large impact and that's subsumed into this. Now,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 actually, in 1984, I worked with Larry Hochreiter at  
2 the end of the FLECHT SEASET program where we used  
3 COBRA-TF to analyze the FLECHT SEASET with blockages.  
4 And so we put in grid spacer models, both for grid  
5 rewet, droplet breakup, et cetera, and those models  
6 would be the first step for what we would put into  
7 TRAC.

8 As you know, we have four different  
9 experimental programs, and we're going to take --  
10 these are all targeted, basically, to a known code  
11 deficiency, typically, something that came up during  
12 AP600. That's with the exception of the rod bundle,  
13 and that was something different. So we targeted  
14 these to a known code deficiency, and we are going to  
15 put them in, and we'll be starting that in January.

16 CHAIRMAN WALLIS: Our advice for you was,  
17 again, have the code developers work more closely with  
18 these codes, particularly John Mahaffy at PSU. You  
19 should be working with Hochreiter to see is Hochreiter  
20 generating the kind of stuff that needs to go in  
21 whatever, the assessment of TRAC. Is TRAC going to  
22 have a model which can be assessed with that kind of  
23 data, and so on? Put the two together, don't just do  
24 a lot of experiments and then two years later someone  
25 unearths them and says, "Well, how do we get something

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 useful out of them we can put in TRAC?"

2 MR. KELLY: Yes. Actually, that's Steve's  
3 and my job, and that's what we're trying to do. As I  
4 said, we both serve as technical monitors in the Penn  
5 State Reflood Program, and Steve is a technical  
6 monitor here. We've both been out to UCLA.

7 CHAIRMAN WALLIS: Yes, but that's part of  
8 their work description, job description is to actually  
9 get something which can be used in TRAC.

10 MR. KELLY: Sometimes they do as part of  
11 the task.

12 CHAIRMAN WALLIS: Maybe we should  
13 emphasize that.

14 MR. KELLY: It gets difficult times, like  
15 if you have a very good experimenter and his students  
16 since they know how to build design, they know the  
17 facility and the instrumentation, but they don't know  
18 anything about TRAC.

19 CHAIRMAN WALLIS: Then they shouldn't be  
20 doing their Ph.D.

21 (Laughter.)

22 MR. KELLY: Well, they can learn what a  
23 two-fluid code needs, but going in and having to learn  
24 the coding of TRAC is something different. It's  
25 gotten better, but --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: But just running an  
2 experiment and not thinking about it is not good  
3 enough.

4 DR. BANERJEE: One concern there is with  
5 the OSU face separation, when we heard that it seemed  
6 that that really was the least integrated into TRAC,  
7 at least the first impression we had, and that a lot  
8 of the detailed data that we would have liked, like  
9 the slot frequencies and things, were not being  
10 measured. I'm just recalling this. And the sort of  
11 correlations which were being developed did not seem  
12 defensible, and I think that's part of the record and  
13 you can look at it. But that was the program which  
14 was the least well-integrated.

15 MR. KELLY: And I think Steve -- Steve has  
16 -- now that Steve is on board, he's now become  
17 technical monitor for this, and Steve is trying to  
18 address those concerns and direct their efforts to  
19 make sure that we get what we will need. And I'm sure  
20 at another time in a few months he can come back and  
21 actually show you what we've put in the code and how  
22 well it does or does not work.

23 DR. BANERJEE: Okay.

24 MEMBER RANSOM: I'd like to voice a  
25 question there too, because I know from experience

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 that the academics just look at these system codes  
2 with disdain. You know, they hate to get involved  
3 with them. They love to create their own models and  
4 their own little computer codes with that, so it's  
5 really going to take some pressure from you folks, I  
6 think, to tell them that this is the way it has to be.

7 MR. KELLY: And to some extent, that's why  
8 some of the model development is being done in-house.  
9 That's one of the reasons for it. One of the other  
10 reasons is to create the expertise here.

11 MEMBER RANSOM: Sure.

12 MR. KELLY: But you're right, we do have  
13 to get closer to the experiments in order to get the  
14 value out of them. But that's what we're trying to  
15 do.

16 MEMBER RANSOM: Even planning their  
17 experiments, oftentimes you find the experiment is  
18 planned in such a way that the data you would get out  
19 of it there's basically no way to use that level of  
20 detail on a systems code, so you need to be thinking  
21 from the start in this framework; otherwise, the data  
22 may be useless.

23 MR. KELLY: Well, that's very well taken.

24 MEMBER RANSOM: There are many examples of  
25 that through the history of this program, you know,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 where experiments have been run with the data  
2 basically never being used.

3 MR. KELLY: The new reg goes on a shelf  
4 and that's that. We're trying not to let that happen  
5 here. And the reason it won't happen -- I mean I  
6 can't say we'll never mess up, but the reason the  
7 situation is going to be better is because now you  
8 have some of the staff doing some of the technical  
9 work rather than just managing the projects. That's  
10 a big difference from the past.

11 MEMBER RANSOM: Well, I'll use Ishii for  
12 an example. After working with him for quite a few  
13 years, I know he's always hated these system codes,  
14 but finally he started with some of his students using  
15 them and found that, well, it's not so bad. And now  
16 I think he's actually operating in a more integrated  
17 fashion. And the same way with Larry. I mean he's  
18 using TRAC -- I mean not TRAC but COBRA-TF because  
19 that's something he knew, and so it's easy for him to  
20 think in that framework. But from the NRC's point of  
21 view, they have to start to thinking in terms of your  
22 framework.

23 MR. KELLY: Yes. We would have forced  
24 Professor Hochreiter to use TRAC-M except that the  
25 reflow capability in TRAC-M at that time was so poor,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and so therefore we let him use COBRA-TF for his pre-  
2 test predictions because it would give a better  
3 answer. In the future, that won't be the case.

4 CHAIRMAN WALLIS: So then the summary is  
5 essentially what you've already told us.

6 MR. KELLY: Right.

7 CHAIRMAN WALLIS: Should we take a break  
8 now, Joe --

9 MR. KELLY: Yes.

10 CHAIRMAN WALLIS: -- or do you want to  
11 emphasize anything more?

12 MR. KELLY: Just at the end of 2003 we'll  
13 have the public release of the consolidated code and  
14 that the long-term code development in the  
15 experimental programs are going to be driven by the  
16 assessment results as well as user needs, and user  
17 needs will be the new type of reactors. But it will  
18 be doing the assessment, and that's where we really  
19 want to spend some effort over the next few years, not  
20 just doing code development in a vacuum but assessing  
21 it against a wide range of types of experiments, from  
22 small fundamental experiments to the larger integral  
23 experiments, finding where the code has problems,  
24 using that to identify where we spend our resources,  
25 both for model development and also experimentation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: Okay. We'll take a  
2 break -- we will take a break till 10:15.

3 (Whereupon, the foregoing matter went off  
4 the record at 10:04 a.m. and went back on  
5 the record at 10:17 a.m.)

6 CHAIRMAN WALLIS: Let's start again. I  
7 just wonder if any of the members had questions which  
8 I cut off at the break that they want to ask now as we  
9 proceed?

10 DR. BANERJEE: No, I was just going to say  
11 we want to see Ishii's work soon.

12 CHAIRMAN WALLIS: We haven't heard about  
13 that for a long time.

14 DR. BANERJEE: Yes. Down the primrose  
15 path of wherever we're going.

16 MR. BAJOREK: Good morning. My name is  
17 Steve Bajorek. I'm from the Office of Research. What  
18 I'd like to talk about is the status and where we're  
19 at in our developmental assessment. If you noted in,  
20 I think, the third to last overhead that Joe had up  
21 there, we had two different assessment matrices that  
22 we're going to be dealing with, and, actually, I think  
23 what I should do before the end of the day, or I can  
24 e-mail it to the new people on the Committee, what all  
25 those specific tests are.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           What I'm talking about is the first one  
2           where we just had a developmental assessment matrix,  
3           which we are calling the code consolidation matrix  
4           versus something else that we called a PIRT DA matrix.  
5           The difference between those is the intensity and the  
6           number of tests that go into some of the specific  
7           phenomena. For the code consolidation part of this,  
8           our interest is just showing that TRAC-M is giving you  
9           about the same results as RELAP and the other TRAC  
10          codes. When we get to the PIRT-based assessment, as  
11          we called it, we went to PIRTS for BWR, PWR, large  
12          break and small break and said that, hey, some of  
13          these phenomena we have to really study in depth so  
14          the number of cases on, as I say, critical flow, some  
15          of the reflood heat transfer levels will have the  
16          increase in that matrix compared to what we want to do  
17          just to show that the code has been successfully  
18          consolidated.

19                 What I'd like to cover this morning and go  
20          over briefly is summarize the work that we have  
21          ongoing and give you some typical results where we've  
22          been able to take RELAP, TRAC-B, TRAC-M for a test and  
23          show the comparative agreement between the three codes  
24          and test data, let you know what work we have in  
25          progress, and, actually, a better phrase for that is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 work that we have just started in order to try to  
2 address some of concerns for BWRs, and then point out  
3 the cases that we're going to be working on in the  
4 first part of 2003 to hopefully complete the  
5 consolidation and really set the stage then for us to  
6 start improving models.

7 As we've mentioned, the purpose of the  
8 code consolidation DA is really to demonstrate that  
9 TRAC-M is giving us what the other codes could  
10 produce. At this point, we try to make some  
11 comparisons to data, but this is really a code-to-code  
12 comparison exercise. However, as we go through this  
13 exercise, what we've been doing is we've been setting  
14 up scripts so that as we change the code and after  
15 we've already extracted that we want to make  
16 comparisons to, we can do this automatically and it  
17 will make it much, much faster the next time around  
18 when maybe the comparison will be an existing version  
19 of TRAC-M to one with a model change in it to the  
20 data, as opposed to bringing in RELAP and TRAC-B into  
21 the mix.

22 Now, we had a fairly late start in getting  
23 going on this code consolidated developmental  
24 assessment work this year. We've had some problems in  
25 getting SNAP moving, we don't have interim reflood

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 model yet, so a lot of our work to date has been  
2 focused on unheated, relatively small-scale separate  
3 effects tests, things that we could regenerate a TRAC-  
4 M input deck by hand as opposed to relying on SNAP to  
5 take the RELAP deck, crank it through and get the  
6 equivalent in a TRAC-M format.

7 DR. MOODY: I should have asked Joe, but  
8 what is SNAP, what is that acronym again?

9 MR. BAJOREK: Symbolic Nuclear Analysis  
10 Program Package.

11 DR. MOODY: Thank you.

12 MR. BAJOREK: And what it is it's a  
13 convenience tool that allows you to take flow areas,  
14 volumes, dimensions and put them into a TRAC-M or  
15 RELAP type of format. Ideally, you'd like to be able  
16 to take the RELAP input deck, send it through SNAP and  
17 come out with TRAC-M. That isn't working at this  
18 point, and that's what's caused some of the delays.

19 Now, the tests that we have been working  
20 on are shown here. Since we think that the blowdown  
21 heat transfer heat transfer package may not change  
22 considerably, we went ahead and we've done some of the  
23 work looking at the Oak Ridge THTF tests. We've got  
24 a case looking at the FRIGG subcooled boiling, a  
25 simple tube model with a phase separation in the CISE

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 single-tube test.

2 One of the problems, or at least one of  
3 the things that we would be very much concerned about,  
4 is that since TRAC has been used primarily as a large-  
5 break tool, is what is it's performance going to be as  
6 we start to extend it into small-break applications?  
7 So we've been paying particular attention to a set of  
8 Oak Ridge THTF level swell tests to try to see how is  
9 TRAC-M going to compare to tests that you would think  
10 that RELAP would do very well. We've got some other  
11 tests on a large scale at lower pressure.

12 As we start to look at AP1000, ESBWR at  
13 some of the advanced plants, the basic idea that all  
14 of them have is to depressurize very rapidly to  
15 something near containment pressure to allow another  
16 large volume of water to be able to gravity-feed into  
17 the reactor. Well, getting a level swell right at  
18 high pressure is one thing, but getting it right when  
19 you have low pressure tends to be more difficult for  
20 a code. So we're working in a set of THETIS boil-off  
21 tests.

22 We're looking at the critical flow model,  
23 and we've done some preliminary work in running some  
24 of the UPTF by pass tests. We ran those over the  
25 summer, and we have additional cases that we're going

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 to use next year. And we've run SCTF Test 719. I'll  
2 show you some of those results, but we haven't made a  
3 whole lot of progress, and we haven't put a lot of  
4 emphasis on a test like this, because what we're doing  
5 we want to wait for the interim reflood model. We  
6 know that we're not going to get good results --

7 CHAIRMAN WALLIS: Do any of these tests  
8 consider entrainment from a boiling pool or a swelling  
9 pool? Is there entrainment from the surface?

10 MR. BAJOREK: THETIS has some, there's a  
11 very small amount in the Oak Ridge THTF tests, SCTF  
12 would have some, but the best place for looking at  
13 that, I think, is in the FLECHT SEASET, FLECHT skewed  
14 power test. Those are on the schedule, but those  
15 won't be happening until the interim reflood model is  
16 complete in early part of 2003.

17 Most of these go through and make a  
18 comparison between TRAC-M, the data, and one other  
19 code. Let me show you some of the results that we've  
20 been getting for the Oak Ridge level swell tests.  
21 These tests, the tests themselves were run in an eight  
22 by eight bundle, full height that was -- they were run  
23 in several different modes. There's a lot of -- it's  
24 a nice test to simulate because once you get an input  
25 deck setup for this, you can vary it from the blowdown

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to a level swell to some of the small-break reflood  
2 tests that were run there.

3 In this series of tests, they tried to  
4 freeze the quench front by controlling the flow into  
5 the bundle so it will reach more or less a steady  
6 state and you could get a steady state void fraction  
7 distribution of the bundle. This shows the results  
8 for one of the tests, and what I'm comparing on this  
9 is TRAC-B, which has the squares, RELAP, the round  
10 circles, the experimental data shown by the triangles,  
11 and TRAC-M with the diamonds. And I'm getting this  
12 type of a comparison. Our conclusion from this is  
13 that TRAC-M is doing about the same as the other tests  
14 at this point. In this case, it looks like it's doing  
15 a better job at picking out what I might call the two-  
16 phase mixture level than opposed to RELAP, but that's  
17 not true for all of the cases.

18 CHAIRMAN WALLIS: Now, can you make it  
19 simulate RELAP or is TRAC-M always going to be itself  
20 --

21 MR. BAJOREK: It's always going to be  
22 itself.

23 CHAIRMAN WALLIS: -- and somewhat  
24 different from all other codes?

25 MR. BAJOREK: Yes. Not all the tests come

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 out that good in comparison to the data. In this  
2 case, we see that TRAC-M tends to overpredict the void  
3 fraction, underpredicting the total collapse liquid  
4 level in the --

5 CHAIRMAN WALLIS: So what did you do to  
6 make TRAC-M so different from TRAC-B in this case? I  
7 would have thought they would have been close since  
8 they're both TRACs, only one's derived as a  
9 consolidation of the other codes.

10 MR. KELLY: Steve, would you like for me  
11 to answer that?

12 MR. BAJOREK: Yes, go ahead, because I'm  
13 not --

14 MR. KELLY: They're derived from the same  
15 code, but the interfacial drag packages in the two  
16 codes are completely different. So TRAC has one based  
17 upon small bubbles and bubbles with the size of  
18 hydraulic diameter and fresh rim between the two as  
19 you go from bubble slug. Whereas TRAC-B, and this is  
20 one of the improvements made for BWRS, is it basically  
21 takes a drift flux correlation and converts it into an  
22 interfacial drag coefficient.

23 CHAIRMAN WALLIS: So which one should we  
24 -- there's no real measure of excellence here.  
25 They're both different from the data in different

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 ways.

2 MR. BAJOREK: That's another one and part  
3 of my conclusions here is one of the things that we  
4 need to do early in 2003 is to define a measure of  
5 goodness for each one of these comparisons in terms of  
6 the scatter plot or a comparison to -- you know, in  
7 terms of a bias and uncertainty. How would we be  
8 doing that for these set of tests will be looking at  
9 the two-phase level as predicted in each one of these,  
10 how close that comes to the data, the collapse level,  
11 which we have, and we can also go and make a  
12 comparison at the locations where void fractions were  
13 related in order to get a bias and uncertainty at each  
14 of these various locations for each of these  
15 parameters to try to put a numerical value on how good  
16 the code is doing.

17 I'll skip a couple of the Oak Ridge  
18 comparisons on there. My point with those is in some  
19 cases TRAC-M is doing probably as good a job as any of  
20 the other codes; in some cases, there is a need for  
21 model improvement. This is for one of the FRIGG  
22 tests where the liquid was entering subcooled to the  
23 bundle, and boiling would not start until roughly a  
24 meter above the inlet. Here, when we make a  
25 comparison to TRAC-B, RELAP and TRAC-M, essentially,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we are doing a fairly decent job of following the  
2 experimental data.

3 But we do see one out here, a little bit  
4 of an outlier. This is one that had been run with  
5 TRAC-B, and this was a summary of the sensitivity  
6 studies that were being done with this one, because  
7 there were some problems in trying to make sure  
8 somebody else's TRAC-B deck was really the same as  
9 your TRAC-M or your RELAP deck. We want to make sure  
10 we get all the volumes and all the areas correct so it  
11 was a fair comparison between each of the codes, try  
12 to get the input.

13 MEMBER RANSOM: What pressure was this at?

14 MR. BAJOREK: I can't remember.

15 (Off-mic comment.)

16 MR. BAJOREK: Yes, I think most of them  
17 were fairly high.

18 (Off-mic comment.)

19 MEMBER RANSOM: One thing that would be  
20 interesting is to see the need for the subcooled  
21 boiling research or model development that's going on,  
22 which I guess is driven by low pressure?

23 MR. BAJOREK: Yes. Yes.

24 MEMBER RANSOM: But I've never seen the  
25 data on it. It would be interesting to see the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 motivation for that.

2 MR. BAJOREK: Okay.

3 MEMBER KRESS: When you have a test like  
4 this with difference in pressure gauges and then  
5 you're going to model the thing with say TRAC-M, which  
6 has nodes in it where you get a void fraction in a  
7 node, how do you relate the nodes to the differential  
8 pressures? Do you sort of draw a line through or do  
9 you actually calculate pressure and say what would the  
10 pressure have been here and here and compare it with  
11 the differential pressures?

12 MR. BAJOREK: The way I've normally done  
13 it is I'll look at two points where I'm getting a void  
14 fraction, and if I wanted to get a comparison to a DP  
15 cell where it's tap may have been in the middle, I'll  
16 average those void fractures or I'll do a linear  
17 interpolation between what the code nodalization is  
18 and what the actual location in the test was.

19 MEMBER KRESS: Another way to have done  
20 that is to actually calculate the differential  
21 pressure.

22 MR. BAJOREK: Yes.

23 MEMBER KRESS: And compare it with what --

24 CHAIRMAN WALLIS: If you look at TRAC-M  
25 out from here, it looks rather strange, that the high

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 void fraction seems to be stepping up the staircase.

2 MEMBER KRESS: Yes. Something seems to be  
3 going wrong.

4 CHAIRMAN WALLIS: Is that something to do  
5 with the nodalization or is it something to do with  
6 the physical model?

7 MEMBER KRESS: That's actually why I asked  
8 because I worry about that.

9 CHAIRMAN WALLIS: It's doing something  
10 which is not physical and it doesn't seem that that's  
11 the way it's going to actually be. The other codes  
12 don't do that.

13 MEMBER RANSOM: Are you talking about the  
14 oscillation?

15 MEMBER KRESS: Yes. It looks a little  
16 strange. That's why I wondered how you actually did  
17 the --

18 MEMBER RANSOM: That's why it would be  
19 interesting to see some phenomenological tests with  
20 TRAC-M where they're kind of pure situations and make  
21 sure that the code behavior passes those tests. Then  
22 apply it to the data experiment.

23 MR. BAJOREK: When we get to putting in  
24 the UCLA models, we'd like to make use of the FRIGG  
25 data, we'd like to make use of the UCLA rod bundle,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 but also just a simple tube with a heat flux where you  
2 can go on a piece of paper and calculate your quality  
3 and temperatures along the way .

4 MEMBER RANSOM: Well, even simpler than  
5 that. I'm talking about these like the manometer Joe  
6 showed this morning, and there are a whole host of  
7 problems like that that just say, okay, it looks like  
8 phenomenologically it's behaving correctly, and now  
9 let's move on to data comparisons.

10 MR. BAJOREK: Let me get you our full test  
11 matrix. I hadn't planned on walking through that  
12 today because we had gone through that last year, but  
13 right off the bat we have a series of about ten what  
14 I like to consider thought problems. They're ones  
15 which physically don't have a whole lot of relevance  
16 to some of the phenomena that's going on in a plant,  
17 but they really help you understand whether the code  
18 is conserving mass, momentum and energy.

19 As we're getting close to completing the  
20 work on SNAP, we're starting another series of  
21 assessments which have been driven primarily for the  
22 need to get the code ready to do ESBWR. So some of  
23 the tests which have been towards the end of our, at  
24 least our priorities in terms of the developmental  
25 assessment matrix, we've moved up. Those being FIX,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 ROSA, FIST, and we're also starting to get LOFT ready.  
2 We want to do some small-break tests with LOFT in  
3 addition to some of the large-break tests.

4 CHAIRMAN WALLIS: Now ESBWR has a chimney  
5 that drives the natural convection, and it's not clear  
6 what the flow regimes will be in there, if the bubbles  
7 will have gone right into some swells or big bubbles.  
8 I'm not sure you have a very good basis for knowing  
9 just what happens in that chimney. It's a big scale  
10 and it's a chemical reaction --

11 MR. BAJOREK: This is a shorter, wider  
12 core in it.

13 CHAIRMAN WALLIS: -- that tends to get  
14 non-one dimensional phenomena where the bubbles squirt  
15 up one side or something.

16 DR. BANERJEE: I think they're putting  
17 sort of --

18 CHAIRMAN WALLIS: Are they going to put  
19 some guides in there? I just wondered if we have a  
20 good database for evaluating that.

21 MR. BAJOREK: Not for that specific  
22 effect, no.

23 CHAIRMAN WALLIS: Or for natural  
24 convection in a large, really large chamber.

25 MR. BAJOREK: It does tell me that when we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 model a plant like that, I think it's going to be  
2 particularly important to isolate and be able to model  
3 a hot assembly and get the radial power distributions.

4 Work that we have upcoming, for large  
5 break we want to continue the work on UPTF. We're  
6 also adding in some additional tests because we don't  
7 want to be overly large break-centric in what goes on.  
8 We want to look at a test like UPTF Test 25 where you  
9 would be looking at perhaps long-term cooling or  
10 events very late in reflood or perhaps like you'd see  
11 in an intermediate array. But for small-break, where  
12 bypass now becomes water being swept away from the top  
13 of the downcomer as opposed to the sweeping out of the  
14 lower plenum, a prevention of SI from reaching the  
15 bottom of the downcomer, as you see in Test 6 and Test  
16 7.

17 We started this but we've also put a  
18 little bit on hold, and we're working with trying to  
19 get an agreement with the Korean Ministry of Science  
20 and Technology. They would like to send someone over  
21 here to work with us for at least a year. They're  
22 particularly interested in bypass phenomena probably  
23 because of its behavior in the CE system AD Plus Plant  
24 where they have an injection port above the cold leg.  
25 And the concern is will that sweep out more water than

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 what might have been predicted from UPTF type tests,  
2 even with the direct vessel injection in its location.

3 They've run a series of tests they've  
4 called MIDAS where they've put the ports above the  
5 cold leg and have studied bypass phenomena in a  
6 smaller-scale facility. So we've sort of stopped  
7 going on here in anticipation that we're going to have  
8 an analyst from Korea to pick up this work over the  
9 course of 2003.

10 As soon as we get SNAP to the point where  
11 it can take a RELAP deck and generate a TRAC-M deck,  
12 we want to get going very quickly on the small-break  
13 and long-term cooling type tests which are important  
14 to AP600, AP1000. Those would be the SPES, the small-  
15 break LOCA tests, the tests that had been run in the  
16 APEX facility for AP600. I'm particularly interested  
17 in running these tests, what we call the "no reserve"  
18 or the beyond-design-basis tests, primarily because  
19 those that have some conditions, some tests that help  
20 us to understand upper plenum entrainment phenomena  
21 better than what we would from a typical integral test  
22 where everything is going on at once. And we'd also  
23 want to start getting the ROSA-IV deck up to speed and  
24 running some of those small-break tests.

25 As Joe had pointed out, we're working on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to get to an interim reflood model. That's why in the  
2 work that we've done to date we haven't made a  
3 tremendous amount of progress on things like FLECHT  
4 SEASET, modeling the RBHT or the SCTF or CCTF cases.

5 MEMBER FORD: Steve, you say depending on  
6 available resources. What's the risk if you don't  
7 have the resources in terms of your capability to  
8 assess some of these pre-applications for advance  
9 reactors and also for the AP1000?

10 MR. BAJOREK: Well, I think the risk is if  
11 we don't get the resources to get the right models in  
12 the code, feel confident that we've put them in there  
13 correctly, and that takes a while, and run a very wide  
14 spectrum of tests, we're not going to be able to go to  
15 NRR and say, "You have a tool by which you can audit  
16 the --

17 MEMBER FORD: So does that mean that the  
18 whole advance reactor commercialization stops?

19 MR. BAJOREK: No, because NRR, I believe,  
20 would say, "We can make our judgment on the safety of  
21 that plant by just looking at what the vendor gives  
22 us."

23 MEMBER FORD: So in other words, you're  
24 not an informed reviewer in that case.

25 MR. BAJOREK: I agree with you. I think

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that's the risk. I think that people who have to  
2 perform the review to a certain schedule would say,  
3 "I'll just have to take what I see from the vendor and  
4 make my decision on that." Whereas I think a better  
5 decision can be made is if you can take an independent  
6 tool and do your own individual, independent  
7 calculations of their tests in those plants itself.  
8 That's why we've been trying hard to move up the BWR  
9 assessment. The reflood model development that we  
10 would do with Penn State, that's been pushed out in  
11 order to accommodate that. That's clearly a resource  
12 problem, because the same people who are going to put  
13 non-condensable models in the codes are the same ones  
14 that are going to be hooking up new grid models based  
15 on the RBHT data. So if you compare what we had  
16 presented today in terms of development to last year,  
17 you'll see this mixing or moving up of BWR activities  
18 at the expense of things like RBHT and some of the  
19 assessments.

20 So at this point, with regards to the  
21 assessment, we feel that we've started a significant  
22 number of cases. We're getting pretty much like we  
23 would expect, because we have a different package in  
24 TRAC-M. Apart from what's in RELAP or TRAC-B or TRAC-  
25 P, we don't expect the results to come right on top of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 one of the other codes. But in the cases we've looked  
2 at, it seems as though we're about as close to the  
3 data, in general, as those other codes have been. And  
4 I tried to show you an example for a level swell, a  
5 case where if this code falls down, that's a place  
6 where we'd sort of expect it because it really hasn't  
7 been used in that capacity previously.

8 Now, I think an important step before we  
9 start doing much in terms of the model improvement is  
10 now is the time for us to start thinking of what do we  
11 mean by code accuracy? We're going to go through, for  
12 example, with the level swells, and we're going to  
13 develop a bias and uncertainty for collapse level, for  
14 two-phase level, for the individual void fraction  
15 measurements, and possibly another scheme that I've  
16 used before in this series is, okay, what multiplier  
17 would it take to correct your prediction to bring you  
18 in line with the data? And if we conclude that the  
19 reason those TRAC-M calculations were off because of  
20 interfacial drag, we can go in, put an interfacial  
21 drag multiplier on this, see if that really and truly  
22 brings us back to the data, and if we got the right  
23 model, then we have a distribution of multipliers that  
24 need to be accounted for with the larger-scale tests.

25 This is something that we need to start

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 working on fairly soon so we can develop these for  
2 TRAC-M today and hopefully a year from now we can say,  
3 ah, the bias has improved this much as we replace the  
4 subcooled boiling model, the T-phase separation model  
5 or the reflood heat transfer model.

6 In addition, in 2003, we're going to start  
7 focusing more on the integral effects tests. In a  
8 way, this is probably a better way of getting a nice  
9 code-to-code comparison because we'll have lots of  
10 processes going on at once. But we would be looking  
11 at OSU, ROSA, SPES, possibly BETHSY, some of these  
12 larger-scale tests in 2003. But, again, that's sort  
13 of a resource issue as well. If we don't have SNAP  
14 functioning the way we were hoping to, that means  
15 we're going to have to put together this TRAC-M deck  
16 almost the old-fashioned way. It's a big help to have  
17 the RELAP deck to give me the processed areas and  
18 volumes and flow diameters and use SNAP to produce the  
19 TRAC-M model, but it's not the nice clean-cut send in  
20 a RELAP and get a TRAC model out that we had been  
21 hoping for.

22 MEMBER RANSOM: Steve, let me ask you a  
23 question on that. We heard earlier that the SNAP work  
24 is being put up for bid now or rebid. Is that a  
25 result of unhappiness with the present contractor or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 what's the reason for it?

2 MR. ROSENTHAL: No, not at all -- sorry,  
3 Jack Rosenthal, Safety Margins and Systems Analysis  
4 Branch, RESA, excuse me for interrupting this evening.  
5 I think I feel more comfortable with the money, and  
6 right now we're right in the middle of several  
7 commercial bids. We have several contracts that just  
8 came to an end and we had to put out new commercial  
9 bids, and we have to bid within a competitive process.  
10 The fact that we've been on continuing resolution in  
11 Congress has impacted our ability to place funds at  
12 what turns out to be a critical time, and we just have  
13 to live with it.

14 MEMBER RANSOM: All right.

15 MR. BAJOREK: I think the problem with  
16 SNAP is it was a very ambitious undertaking.

17 MEMBER RANSOM: Which?

18 MR. BAJOREK: The development of SNAP. We  
19 have to take all of the RELAP decks, send them through  
20 and produce a TRAC-M deck.

21 MEMBER RANSOM: Well, the whole TRAC-M  
22 project was pretty ambitious. Kind of like fusion,  
23 you know, it's, what, a 20-year project that's in its  
24 40th year.

25 DR. BANERJEE: As long as it's not like

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 cold fusion.

2 (Laughter.)

3 MR. BAJOREK: Another part of the code  
4 consolidation work has also been the work using the  
5 phase separation data at ATLATS and the UCLA subcooled  
6 boiling. We heard you when you guys said in June and  
7 July, I guess it was, "You need to integrate your code  
8 work with the experimental work." We agree 100  
9 percent on that. It hasn't been scheduled that way,  
10 we're trying to move that up. It still remains a bit  
11 of a resource problem to try to cover some of our  
12 other areas.

13 MEMBER RANSOM: Remind me, ATLATS is the  
14 Penn State facility, is that right?

15 MR. BAJOREK: I'm sorry. ATLATS is the  
16 facility at Oregon State --

17 MEMBER RANSOM: Oh, Oregon State.

18 MR. BAJOREK: -- that's being used to  
19 develop models for entrainment and carryover to a  
20 relatively large-sized branch line.

21 MEMBER RANSOM: Got it.

22 MR. BAJOREK: We know what the facility  
23 looks like, we have a number of tests, we've got  
24 questions on the old models, we still have questions  
25 on the new models. But to get started on this, we're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 setting up a TRAC-M model of the facility, we're going  
2 to simulate it with both TRAC-M and RELAP. Not that  
3 we're real particularly interested in adding new  
4 models to RELAP, but we think at this point when we do  
5 AP1000 audit calculations, we want to get a better  
6 model in the RELAP, because we don't think TRAC-M is  
7 going to be up to snuff, okay, in the right time  
8 frame. So we intend to get facility models of ATLATS,  
9 make simulations with TRAC-M and RELAP. Both the  
10 models are identical at this --

11 CHAIRMAN WALLIS: What happens to RELAP  
12 when TRAC-M is really operational and used a lot, do  
13 you stop maintaining RELAP or what happens to it?

14 MR. BAJOREK: No. We intend to maintain  
15 RELAP for sometime into the future. We think that  
16 RELAP is still a tool that a lot of people are going  
17 to use, including the staff.

18 CHAIRMAN WALLIS: You wouldn't maintain  
19 TRAC-B and so on.

20 MR. BAJOREK: No. But one of the big  
21 differences is when we come up with new models for  
22 grid models or new reflood models, we're going to put  
23 those to the TRAC-M. We aren't going to try to put  
24 them in both RELAP and TRAC-M. That's why I say this  
25 one may be the exception just because of where we're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 at in TRAC-M development. We want to make sure that  
2 we can make a good estimate on what this higher carry  
3 over in the hot leg does to AP1000. So we're going to  
4 try to do both TRAC and RELAP at this point.

5 But as we go to other tests, including the  
6 UCLA work, those models are going to go right into  
7 TRAC-M, they won't go into RELAP. And that's the  
8 other project that we did start I guess it was around  
9 the September time frame. We've been working with  
10 UCLA to develop sub-routines that we can take and put  
11 right into TRAC-M to replace the subcooled boiling  
12 model that's in there now. We've iterated with them  
13 on, "Hey, here's what the code can give you, here's  
14 what we expect to get back out from the sub-routines,"  
15 and we haven't had a problem with that. There's  
16 nothing new that the code can't handle, and there's  
17 nothing that we have to supply to these calculations  
18 that the code isn't already using in some capacity.

19 So I just wanted to let you know that  
20 outside of the code consolidation we are starting to  
21 take advantage of these experimental programs, and I  
22 think if you look on Joe's overall schedule, we  
23 intended to start that about now and hopefully we'll  
24 get these models functional, understand them through  
25 the developmental assessment and in the REV, I guess

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 0.0 release at the end of 2003, TRAC-M would have both  
2 of these available to the user.

3 CHAIRMAN WALLIS: Thanks very much, Steve.  
4 We'll move back to Joe Kelly. This looks like a fat  
5 package. Ends up at Page 78.

6 DR. BANERJEE: Seventy-five?

7 MR. KELLY: You just handed out the first  
8 package. Do you want to hand out the second one?

9 CHAIRMAN WALLIS: Jose had 120, I think,  
10 yesterday. We're having a real contest in getting  
11 through a large number of transparencies or slides.

12 MR. KELLY: I know how to work the mouse,  
13 I just don't know how to turn it on. I just saw a  
14 green light flash. It flashed but then it's back off.  
15 Technology's great when it works. Ah, I saw a  
16 glimmer. Thanks, Paul.

17 CHAIRMAN WALLIS: It's now warming up.

18 MR. BOEHNERT: It's warming up. It's  
19 coming up.

20 MR. KELLY: Okay. A good part of this  
21 presentation I actually gave to this Subcommittee  
22 about four and a half years ago at the beginning of  
23 the RBHT Program.

24 CHAIRMAN WALLIS: There's been no progress  
25 since then?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MR. KELLY: Well, this Committee has  
2 changed substantially since that point in time, so I  
3 thought I would repeat some of it. But in the  
4 interest of time, a lot of the first 20 or so slides  
5 I'm going to skip through very quickly and not argue  
6 about the rationale for the program but just hit a few  
7 highlights.

8           What I was going to basically talk about  
9 is what the program is, why we're doing it, very brief  
10 description of the current reflood model that's in  
11 TRAC, show you some of the results that are the reason  
12 that we are ditching that model and part of the reason  
13 for doing the RBHT test, and then talk about how we're  
14 going to use the data from the RBHT facility to  
15 develop the models. I'll skip this.

16           When I talked about the program, it was  
17 really two things: A model improvement effort and an  
18 experimental program. And this effort actually  
19 started at the same time as our RBHT Program, but it  
20 was interrupted by things like me leaving the NRC and  
21 also me getting a lot of other assignments. So we've  
22 done some work here but then you know about the test  
23 facility.

24           The one thing I'd point out here is the  
25 intent was to have a small-scale reflood and blowdown

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 rod bundle test facility, and so what we were doing  
2 initially was all of the piping at the RBHT facility  
3 was going to be designed for high pressure, and a lot  
4 of it is, so that later on we could go in and do, say,  
5 a blowdown rewet test there. But as cost escalated,  
6 some of the components, like some of the tanks, are  
7 not sized for high pressure, but some of the loop is.  
8 Obviously, the bundle housing isn't, but we knew that.

9 I will go through this. We've planned a  
10 number of different types of tests in the facility.  
11 First, obviously, you do the bundle characterization  
12 once you build it. Single-phase, steady state flow to  
13 get the bundle and grid spacer pressure drops. That's  
14 been done. I also wanted a series of tests with  
15 steady state two-phase flow, and the point here is to  
16 measure the void fraction, again using DP cells,  
17 normal flow regimes, talking bubble, bubbly slug,  
18 churn turbulence, in order to get a database at low  
19 pressure, low flow, decayed heat levels for the  
20 passive plants. Well, that was not done as part of  
21 the bundle characterization. We're going to be doing  
22 it during calendar year '03. They did measure bundle  
23 heat loss, which we'll be using when we simulate the  
24 test. That's something that's needed there. They  
25 also did radiation tests with the evacuated bundle,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and you can use that as part of the assessments of  
2 your BWR channel radiation model, structure radiation.

3 Starting later in 2004, I guess now, are  
4 the steam and mist cooling tests, and these are really  
5 unique to the facility and one of the big reasons for  
6 doing it. There's nothing really major about single-  
7 phase steam cooling in a rod bundle except that  
8 there's not a whole lot of data out there, and the  
9 data is widely scattered. So the idea here is to look  
10 at turbulent and mixed convection, because we're in a  
11 Reynolds number range like starting down as low as  
12 2,000 up to about 20,000, but also look at the grid  
13 spacer enhancement in single-phase conditions to be  
14 able to use this as part of a baseline for what you  
15 then see when you're two-phase.

16 Then at the same steam flow rates inject  
17 droplets near the bottom of the bundle in each sub-  
18 channel with a known droplet mass flux and size  
19 distribution, because we've designed these injectors  
20 and tested them previously. We can use that to look  
21 at two-phase enhancement of the convected heat  
22 transfer. This is the kind of thing like if you have  
23 particle gas flows where the particles can increase  
24 the heat transfer, except with drops it's a little  
25 more complicated process.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: These are going to be  
2 with very hot rods so that you can get into  
3 Leidenfrost-type --

4 MR. KELLY: Yes. You'll be beyond that.

5 CHAIRMAN WALLIS: Or Forslund-Rohsenow or  
6 whatever?

7 MR. KELLY: Yes. And we'll talk about  
8 that some more later.

9 MEMBER RANSOM: I have a question relative  
10 to that. How do you plan to use that in the code?  
11 That's sort of an artificial situation you create in  
12 the experiment, and I'm wondering how do you use that  
13 to help you with the code model?

14 MR. KELLY: Well, when you're developing  
15 a model for this first flow from boiling and all you  
16 have are, say, reflood data, you're always going,  
17 well, what is the vapor flow rate, what is the droplet  
18 flow rate, what is the droplet diameter when you're  
19 trying to make judgments about which model to use.  
20 Here we know those things.

21 MEMBER RANSOM: Are you going to put that  
22 into the code as an input condition in a way, like a  
23 boundary condition, and then some way say, okay, do my  
24 heat transfer correlations predict the correct  
25 behavior with this situation?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. KELLY: Well, yes and no. You do it  
2 both ways. You'll have detailed local condition data  
3 here.

4 MEMBER RANSOM: Right, but you created an  
5 artificial condition, and I'm wondering how do you  
6 relate that to reality?

7 MR. KELLY: Well, two ways. One is you  
8 know the local conditions now, because you made them  
9 easy, okay? You can take those local conditions and  
10 use them to judge how good correlations you find in  
11 the literature are for those local conditions. So  
12 they can make a difference in which model you select.  
13 But then you can also use it in code validation, and  
14 that's where we would do exactly what you're saying,  
15 we would set up and run the test exactly the way the  
16 test is run, injecting the liquid in droplet forms.

17 MEMBER KRESS: Are you going to have  
18 multiple grids and series in these tests --

19 MR. KELLY: Yes.

20 MEMBER KRESS: -- so that the drops  
21 actually do change as they go through the grids?

22 MR. KELLY: Yes.

23 MEMBER KRESS: So then you'll have to  
24 recharacterize the droplets after each grid?

25 MR. KELLY: Well, what you find, and this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is based more on my experience with the FLECHT SEASET  
2 Program, the Sauter mean diameter of the total droplet  
3 population only changes a small amount as it goes past  
4 each grid, they're not large changes. What you do see  
5 is some fraction of the drops have hit the grid, and  
6 typically the fraction of the drop that's within the  
7 projected of the area of the grid is shattered into  
8 microdrops, and those microdrops evaporate very  
9 rapidly just downstream of the grid, and that's what  
10 provides the superheating of the vapor.

11 MEMBER KRESS: Yes. And that gives you  
12 some clues as to how to model it.

13 MR. KELLY: Right. And we did this once  
14 before in 1984 with COBRA-TF and FLECHT SEASET, and  
15 it's the lessons that we learned in doing that work  
16 that have helped define some of this.

17 MEMBER KRESS: Yes. I think that's a  
18 reasonable view of what happens.

19 MR. KELLY: So this is what we can get  
20 from these tests: Information on the convective two-  
21 phase enhancement, and I'll describe what that is more  
22 later, we'll get some information on the interfacial  
23 heat transfer, and this is superheated steam to  
24 droplets, because we'll see the axially evolution of  
25 the vapor temperature, again, given that we know what

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the droplet flow rate is. And we'll also be able to  
2 look at the grid spacer effect under two-phase  
3 conditions. Under two-phase conditions, there's  
4 really two. One is if the grid is wet. Imagine a  
5 liquid film completely covering a grid that's about  
6 two inches long and covers the middle of each sub-  
7 channel. That's an awful lot of surface area. And if  
8 you then blow superheated steam past this wet surface  
9 area, you get a pretty large heat transfer coefficient  
10 times a pretty large area. So that's a real good sink  
11 of heat from the vapor.

12 The other way is the process I described  
13 before, which is droplet shattering. Droplet  
14 shattering becomes more important when the grids are  
15 dry. Whereas when the grids are wet that's such a  
16 good heat sink already the droplet shattering becomes  
17 secondary. In the tests that we've run to date, we've  
18 kept the peak clad temperatures down to about -- to  
19 about 1800 F is the maximum that's been run. Under  
20 those conditions, for most of our tests, the grids  
21 rewet very quickly and stay wet. That's part of the  
22 reason the grid effect you see in RBHT is so large is  
23 that the grids are wet. If you want to go to best  
24 estimate plus two sigma, 95th percentile type  
25 calculations where you can have up to 2000.100 F, then

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that's non-prototypic. Under those kind of  
2 conditions, the grids would be dry, and that's what we  
3 saw in FLECHT SEASET, and that's why the second series  
4 of reflood tests in the RBHT we're going to bump the  
5 rod temperatures up high enough to get those grids  
6 dry, and then we'll be able to compare behavior with  
7 wet grids versus dry grids.

8 I already said something about the forced  
9 reflood test, but what we did when we designed the  
10 test matrix is kind of split it into two parts. One  
11 part we wanted to look at what happens in what we'll  
12 call froth region or inverted annular are boiling. And  
13 so we tried to do a parametric. Now, in the bundle,  
14 starting at around 48 inches, we started having a  
15 fairly fine mesh of DP cells, because the void  
16 fraction is very important for this regime.

17 And so what I did was pick the point in  
18 the transient when the quench front would be up into  
19 that and then vary the subcooling at that elevation.  
20 So that would be the parametric is changing the  
21 subcooling at, say, 53 inches. For dispersed flow  
22 film boiling what's more important is the void  
23 fraction of the quench front. So, again, do a  
24 parametric on pressure and mass flows of a quench  
25 front void fraction, again, at that level where we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have the DP cells.

2 CHAIRMAN WALLIS: We talked with  
3 Hochreiter about whether or not DP was a good measure  
4 of alpha.

5 MR. KELLY: It depends on where you are.  
6 If there's a lot of water around, like say if you're  
7 in bubbly, bubbly slug under these kind of low flow  
8 rate conditions --

9 CHAIRMAN WALLIS: At low velocities, at  
10 low velocities.

11 MR. KELLY: -- at low velocities, there's  
12 no problem whatsoever. And the highest flow rates we  
13 go up to are six inches a second. That's about 150  
14 kilograms per meter squared per second, so that's very  
15 low.

16 CHAIRMAN WALLIS: But when you're at high  
17 alpha and you're looking for the whole number of  
18 drops, it's not so clear you can do that.

19 MR. KELLY: The way I look at it if  
20 there's a grid spacer in your Delta P span, then you  
21 really have to look carefully because the pressure  
22 drop across that grid is very large. So let's set  
23 those aside. You would still have then say dispersed  
24 flow conditions, about plus or minus five percent void  
25 fraction, not five percent of the void but five

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 percent just because your frictional pressure drop is  
2 there.

3 CHAIRMAN WALLIS: Presumably, you  
4 accelerate the drops downstream of the grid too.  
5 There's other components that --

6 MR. KELLY: Right. So anything above 90  
7 percent void fracture don't believe DP cells, just  
8 throw that away, just say it may be an indication but  
9 it's probably more an indication of the frictional  
10 pressure drops. But between zero and, say, 80,  
11 they're pretty good, but once you get higher than  
12 about 80, especially if there's a grid spacer around,  
13 DP cells are not that great.

14 DR. BANERJEE: Do we have any direct  
15 evidence of their performance like against  
16 densitometers? I mean one of the issues is that in  
17 regions where you get rapid vaporization, you've got  
18 very high acceleration of the pressure drops. So it's  
19 not very convincing unless you have some other way to  
20 corroborate this.

21 MR. KELLY: Well, the rapid vaporization  
22 which appears is actually pretty small compared to  
23 what you're really talking about. You can do hand  
24 calculations on what the acceleration losses are, and  
25 they're pretty small for this. That's been done

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 before. We did look at putting a --

2 DR. BANERJEE: So do you have anything  
3 written up on this or does Hochreiter have something?

4 MR. KELLY: I've seen it before. I don't  
5 know if he did it for the RBHT. I've seen it as part  
6 of other experimental programs. We did look into  
7 using a gamma-densitometer, and the one that they  
8 wanted to use was a low-energy one that had been part  
9 of another NRC program, but there were some fairly  
10 substantial costs associated with getting it and  
11 getting it back to working. But what was worse,  
12 because it was -- they wanted low energy so they  
13 didn't have to worry about radiation shielding and so  
14 on. The real problem was that the low energy one  
15 needed a special window because it can't see through  
16 metal, so it can only see down through the gaps.

17 And, apparently, the -- for some reason,  
18 it didn't work with the quartz windows, so we had to  
19 have somebody put a ruby insert in the quartz windows.  
20 And if you followed along with this program, we've had  
21 enough trouble with the quartz windows, and if we had  
22 put another insert inside of it, it just -- it would  
23 have been awful. So we didn't do it.

24 DR. BANERJEE: So the reason you didn't  
25 use it was difficulty.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. KELLY: Cost and difficulty.

2 DR. BANERJEE: But one thing needs to  
3 validate that this measurement technique actually is  
4 okay or not on what its limits are. And I think that  
5 in Karlstein they're using densitometers, so you put  
6 a direct measure there. Franz Mayinger, the guy who  
7 developed this stuff, was looking straight through.  
8 So there might be a database there that could help you  
9 to validate this.

10 MR. KELLY: Yes. I saw your comment about  
11 that in the notes from the RBHT, and certainly when I  
12 start doing the data analysis, if Hochreiter's team  
13 has not done a better analysis of that, then I will  
14 take a look at it to have some idea of the accuracy.

15 DR. BANERJEE: And maybe you can analyze  
16 the problem away.

17 MEMBER RANSOM: Well, as a matter of fact,  
18 if you just took a steady state calculation for a  
19 droplet drag model and wall friction model and the gas  
20 at the flow rates that you're talking about and show  
21 that the DP in that case how it compares with what you  
22 would interpret from a hydrostatic pressure difference  
23 in terms of void fraction. And I would think that  
24 wouldn't be too hard a calculation to make, and if it  
25 doesn't correlate well, why it's an indication that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 this method really does not work.

2 MR. KELLY: Yes. Well, I've done that in  
3 the past, and that's why I say throw away anything  
4 with a void fraction more than about 90 percent.

5 MEMBER RANSOM: Right.

6 MR. KELLY: Because it's just -- at that  
7 point, it's just giving you an indication.

8 MEMBER RANSOM: Yes.

9 MR. KELLY: Yes. Now, you're not going to  
10 measure droplet volume fractions. In dispersed flow,  
11 the droplet fractions we're talking about are half of  
12 a percent. You're not going to measure that -- we're  
13 not going to measure it with a gamma-densitometer, and  
14 you're not going to measure it with a Delta P cell.

15 DR. BANERJEE: The only way you can get  
16 them is by neutrons capturing, which is accurately  
17 done.

18 MEMBER RANSOM: So, really, I think what  
19 you're saying is it's very useful, because you either  
20 have liquid, primarily, or small void fraction in the  
21 subcooled boiling region and then highly dispersed.

22 DR. BANERJEE: No, no, you have an  
23 inverted annular region.

24 MEMBER RANSOM: You have an inverted  
25 annular, which that one too would be critical.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. KELLY: Let me get about 50 view  
2 graphs from here and we're going to talk a lot about  
3 that. And that I'll show you why we have the DP  
4 cells, because that's one of the big things here.

5 What we were hoping to do was have a  
6 second bundle build where we would go in and change  
7 the grid spacer design or put guide tubes in, because  
8 now we just have heater rods except for the four  
9 corners. And the point of this is if you put in guide  
10 tubes, I've seen large-break LOCA calculations, the  
11 guide tubes, because they don't have a heat source,  
12 can rewet, and they provide a radiation sink for the  
13 fuel rods. And in something like a Westinghouse 17 by  
14 17 design, you're never more than I think it's two  
15 sub-panels away from a guide tube. So you can get  
16 about 25 degrees K on your PCT by modeling radiation  
17 to guide tubes.

18 CHAIRMAN WALLIS: They have water rods and  
19 things like that too, don't they?

20 MR. KELLY: But water rods are in BWRs.  
21 And BWR radiation is very important because of the  
22 canister housing. So we were hoping to do this, and  
23 we were also planning on doing gravity reflood tests  
24 to try to look at the effects of oscillation on  
25 entrainment, I know that's something that Professor

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Banerjee talked about, and also do a parametric on  
2 outlet resistance. Notice these are all grayed out,  
3 and the reason is that the cost of the facility  
4 construction and schedule were both much more than we  
5 expected, but also the costs of the ongoing operation,  
6 because this isn't run by graduate students, it's run  
7 by professional staff at the ARL. That's much higher  
8 than we're used to in our other facilities, and with  
9 everything else that's going on in the different  
10 reactors, et cetera, we've had to make funding  
11 reductions to this program. So we're basically not  
12 going to do this unless there's some dramatic need or  
13 funding made available.

14 MEMBER KRESS: But you would still have  
15 the guidance in the code to deal with those.

16 MR. KELLY: Yes. This was just to try to  
17 put some of this in perspective. When they did the  
18 CSAU study and quantified the uncertainty in TRAC-  
19 PF1/MOD 1 back in the late '80s, they came up with a  
20 very large safety margin for large-break LOCA. It was  
21 about 350 degrees K. That was for a formula plant  
22 with a peak linear heat generation of about 9.4  
23 kilowatts per foot. Now, in the submittals you've  
24 seen recently, you see numbers up more like 15  
25 kilowatts per foot, and when you do that, when you do

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 your best estimate prediction with two sigma  
2 uncertainty, you no longer have this very large  
3 margin. Instead the margin is very decreased, and you  
4 start getting temperatures up to what you get for an  
5 Appendix K calc. I'm going to show those on the next  
6 slide.

7 And so this is an example of a best  
8 estimate plus uncertainty calculation at 15.1  
9 kilowatts per foot. So this is a 95th percentile  
10 calc. This was a CSAU study at a nominal temperature.  
11 This was basically the result that shut down a lot of  
12 the thermal hydraulic research because the margin from  
13 here to the Appendix K limit was so large that it was  
14 called a "never mind." But as you add the  
15 uncertainty, which was up to about here, and then you  
16 go to the higher power levels with uncertainty, you've  
17 shrunk the margin. And in fact today, if you look at  
18 the best estimate submittal for the AP1000, it's right  
19 about here.

20 CHAIRMAN WALLIS: One has to wonder  
21 whether 95 percent certainty is good enough if you're  
22 so close to the limit. Depends on the risk and so on.  
23 I mean there's nothing magical about 95 percent.

24 MR. KELLY: Right.

25 MEMBER KRESS: Well, I guess you ask the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 question of what are you risking, what are you losing  
2 if you exceed the limit? And here I don't think that  
3 limit is -- I don't think you lose much if you exceed  
4 that. Is that right?

5 MR. KELLY: That's a whole other question.  
6 For me, I'm saying this is the law, we're getting up  
7 very close to it with the vendor calcs, our code at  
8 the moment isn't good enough to really audit those  
9 calcs. We want to have a code with a low enough  
10 uncertainty that we can do a parallel calculation and  
11 if we get a number close to what they have, it makes  
12 NRR's job a little bit easier.

13 MEMBER KRESS: What bothers us quite often  
14 about that is that uncertainty is generally a  
15 parameter uncertainty, and we know that hidden in  
16 those codes is something called model uncertainty and  
17 we don't know how to deal with it. And we don't know  
18 whether the realistic best estimates of our version of  
19 Appendix K are supposed to include that model  
20 uncertainty.

21 MR. KELLY: By modeling, do you mean  
22 physical models or an interim model?

23 MEMBER KRESS: Well, that's the question  
24 of lack of knowledge uncertainty where you miss  
25 something that --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. KELLY: And you just have to do with  
2 the best you can with a comprehensive assessment.

3 DR. BANERJEE: Well, there's also the  
4 built-in scale uncertainty. You know, the assessment  
5 tries to address that, but there's nothing really  
6 that's been ever done on full scale completely. Bits  
7 and pieces have been.

8 MR. KELLY: Right. You do the best you  
9 can.

10 This was talking about where we are with  
11 TRAC. When they did TRAC-PF1/MOD1, this was back in  
12 the late '80s, the CSAU study did quantify the  
13 uncertainty a little bit in a hand waiving way  
14 compared to what you see with the Westinghouse and  
15 Framatome submittals, but they did quantify. But they  
16 also identified a number of areas of TRAC modeling  
17 deficiencies and high uncertainties and said that  
18 there was a potential for a significantly larger  
19 margin than they had identified.

20 Well, what that led to was a development  
21 program to improve the reflood models in TRAC, and  
22 they came up with a completely new, which they would  
23 call, mechanistic reflood model and it was based  
24 primarily on data from tubes, for example, the  
25 Winfrith hot patch test. There was minimal assessment

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 against rod bundle data, only a couple of the large-  
2 scale facilities, no FLECHT SEASET test at all. And  
3 just the way things worked, there was less and less  
4 interest at this time, so there was very little  
5 assessment, and at that point, the code kind of sat  
6 around for a while. Then the AP600 came and we wanted  
7 to do large-break LOCA calculations with TRAC then,  
8 and that's when we started having some problems with  
9 it and realized that it wasn't good enough. And,  
10 actually, the contractor did try to improve the code  
11 but was unsuccessful. So the point here is that the  
12 pedigree that was generated for MOD1, and what I'm  
13 talking about is all the separate effects reflood  
14 tests, all of the integral tests, the SCTF, CCTF,  
15 UPTF, LOFT, all of the assessment that was done here  
16 doesn't apply to MOD2. And the models that are in  
17 MOD2 are what are in TRAC-M today.

18 MEMBER RANSOM: Joe, along that line, then  
19 RELAP5 they went to a drift flux model or at least the  
20 interface drag that they used in rod bundles was based  
21 on the EPRI drift flux modeling, which I always felt  
22 was a step back. But is TRAC using that same kind of  
23 philosophy?

24 MR. KELLY: No. TRAC uses --

25 MEMBER RANSOM: More mechanistic?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MR. KELLY: Well, I won't call it more  
2 mechanistic. It uses the kind of thing that we did in  
3 COBRA-TF. Basically, you know, you say there are  
4 small bubbles at a certain diameter, large bubbles at  
5 a hydraulic diameter, and there's some kind of alpha  
6 ramp between the two to get you to transition from  
7 bubbly to slug. And there is a little profile  
8 correction factor in that's taking from a drift flux  
9 model, but that's an area that needs work. If void  
10 fraction under those situations are important, that's  
11 what needs work. And that's one of the reasons we  
12 want to do the interfacial drag test in the RBHT  
13 facility this coming year is to give us a database at  
14 low pressure conditions. By more mechanistic, what I  
15 would really think of it is the interfacial area  
16 transport type models where you start modeling the  
17 bubble coalescence and breakup processes as driving  
18 your flow regime transitions. And we're not there  
19 yet. That's a few years away.

20           DR. BANERJEE: But you wouldn't be  
21 modeling the transition in breakup, I think you'd  
22 simply put source terms in.

23           MR. KELLY: Right.

24           DR. BANERJEE: I mean it's going to be  
25 very empirical.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. KELLY: Yes. You just move the  
2 empiricism one level down.

3 DR. BANERJEE: Down.

4 MR. KELLY: Yes. But it also gives you  
5 evolutions over length and time scales that we don't  
6 have now. That's one of the real keys.

7 DR. BANERJEE: Right.

8 MR. KELLY: And that's why I will  
9 typically put quotes around mechanistic any time,  
10 because at some point they're all empirical. We don't  
11 have droplet trajectories and drops flattening against  
12 walls and everything.

13 So then I came on the scene and the RBHT  
14 Program started to come about. So I went and started  
15 to do some separate effects assessment using what I'll  
16 just call TRAC-M. Anywhere you see MOD2 I'll say  
17 TRAC-M. And so what I looked at was FLECHT SEASET,  
18 and I did some calculations for a low flooding rate  
19 test, and they're completely unrealistic, highly,  
20 highly conservative, and you're going to see those in  
21 a second. The reason they were is they have extremely  
22 large oscillations. It was a very good model of  
23 Vesuvius. And this is for a test with fixed inlet  
24 flow rate.

25 DR. BANERJEE: Low pressure, right?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MR. KELLY: Two point seven bar. And so  
2 the conclusion was that significant model improvement  
3 was needed before we started doing any kind of  
4 quantification of uncertainty for TRAC-M. And so this  
5 is kind of my philosophy here, so I will go over this  
6 slide. Obviously, it needs improvement. The current  
7 model is overly complicated, we need something that's  
8 a little bit more simple, at least more  
9 straightforward. We've got to reduce the oscillatory  
10 behavior, and then we have to improve the accuracy of  
11 the predictions.

12           In the past, and I'm going to criticize  
13 this because I've done this, not just other code  
14 developers, I've done it, what you would do is go to  
15 the literature, find some other correlations, try some  
16 different correlations, maybe tune a few coefficients  
17 or put in some different smoothing ramps to try to  
18 smooth things out so you don't see so much. You end  
19 up with something that's overly complicated, and it  
20 has compensating errors in it. So you have no  
21 assurance -- even if you're matching the right  
22 temperature for part of the transient, you have no  
23 assurance that you're matching it for the right  
24 reason. And, typically, you aren't. You may get the  
25 right heat transfer, but you've got the wrong fluid

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 conditions, so that means your heat transfer model  
2 can't really be right.

3 So what we want to do here is have an  
4 experimental program that to the extent that we can  
5 with the instrumentation we have available today gives  
6 us the detailed data that you need for model  
7 development. And, of course, you want to be able to  
8 supplement this with more fundamental tests like  
9 Professor Banerjee talked about earlier.

10 Then try to select or, if you have to,  
11 develop those models looking at the underlying things.  
12 So don't just get the heat transfer right, get the  
13 heat transfer and the void fraction right. Or if  
14 you're in the dispersed flow regime, get the heat  
15 transfer and the vapor temperature right. And then --

16 CHAIRMAN WALLIS: Or measure the droplet  
17 velocity and get that right too, among other things.

18 MR. KELLY: We can talk about that later.  
19 Let's say the droplet flow rate, okay, the entrainment  
20 rate. So try to get the right local fluid conditions  
21 and the right heat transfer, but also when you're  
22 doing this try to make sure that the models you're  
23 developing for the code are consistent with the two-  
24 fluid model in the way the numerics in the code are.

25 Okay. We can skip that, skip that. I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 basically just said this, but if we have to develop a  
2 model, it has to be accurate, but you also want it to  
3 be consistent, and what I mean here is if the flow  
4 regime map you're using for your interfacial drag and  
5 interfacial heat transfer tells you you're in this  
6 regime, well, when you calculate the wall heat  
7 transfer it should be in the same regime. A lot of  
8 the codes, typically you'll have, in effect, different  
9 flow regimes for interfacial drag, interfacial heat  
10 transfer and wall heat transfer for the same node.

11 So you need to try to make those  
12 consistent and try to get rid of ad hoc models,  
13 especially if they're important. So, for example, in  
14 interfacial drag for inverted annular film boiling, at  
15 the time we did COBRA-TF, we didn't really know  
16 anything. So if I recall, that interfacial drag  
17 coefficient is 0.01. And when we did simulations it  
18 kind of, sort of gave void fractions that weren't too  
19 bad, so it was left that way. But when you can, you  
20 know, especially if there's more fundamental data  
21 available, go and get that data, reduce it and come up  
22 with a model that's not just, well, what Dennis Wallis  
23 used to call a six-pack correlation.

24 DR. BANERJEE: But, you know, the friction  
25 factor, which is constant, is reasonably good for wall

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       anyway --

2                   MR. KELLY:   Yes.

3                   DR. BANERJEE:  -- so it's probably not too  
4       bad.

5                   MEMBER RANSOM:     You know, I never  
6       understood the NRC's use of the word, "ad hoc." I  
7       think officially it means special case, and I've never  
8       seen anything wrong with using special case models  
9       that apply to a specific situation. But it's always  
10      used in a negative sense here, it seems, meaning  
11      picked out of the air, but that's not what it really  
12      means.

13                  DR. BANERJEE:  Or lashed together.

14                  MEMBER RANSOM:  Huh?

15                  DR. BANERJEE:  Or lashed together.

16                  MEMBER RANSOM:  Or lashed together, right.  
17      But "ad hoc," I think, in the English language means  
18      special purpose.

19                  MR. KELLY:   Well, I may have to change  
20      that. I may end up putting "six-pack" where it says,  
21      "ad hoc."

22                               And the other thing is when you develop a  
23      model you need to think about its numerical  
24      characteristics. I'll give you a very quick example.  
25      Whether it's the Chen Nuclear Boiling Correlation or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a lot of others, you use the inverse Martinelli  
2 parameter, and so it has a quality over one minus  
3 quality as one of the terms in it. I may have it  
4 upside down, but I always do that. One of my -- X  
5 over X.

6 And what this really comes from is a force  
7 balance on interfacial drag and wall drag to give you  
8 a film thickness. Well, the code calculates void  
9 fraction; it does that calculation itself. And so the  
10 void fraction is the film thickness. But when you go  
11 to low flow rate conditions, basically stagnant pool-  
12 type thing with boiling, what is the quality? It  
13 really becomes undefined.

14 Like, for example, if you're a pot on your  
15 stove boiling, the vapor flow rate comes up but the  
16 liquid is actually falling down. What is your flow  
17 quality? You know, flow quality is a very nice  
18 correlating parameter for a steady state one-  
19 dimensional experiment. It's not a very good  
20 parameter to use in a two-fluid code, because now your  
21 quality can go between zero and one, and one minus X  
22 over X, it can go anywhere. And if that's multiplying  
23 either a suppression factor or a flow factor in a Chen  
24 correlation, you can get big oscillations from  
25 something that you would never dream would give you a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 problem.

2 So when you can base your correlations on  
3 integral variables. And what I mean by an integral  
4 variable is something like the void fraction. The  
5 volume fraction in a control volume results from the  
6 conservation equations, so it takes some amount of  
7 time for that void fraction to change. Whereas a  
8 velocity at a junction can flip-flop very quickly.  
9 Well, you can read the rest of that.

10 There are some things unique about the  
11 experiment, and this is where if you think this is a  
12 worthwhile program for the NRC to pursue, you need to  
13 make that message very clear to our Management.  
14 Budget for this program has been reduced, it could go  
15 to zero, so if you think it's a worthwhile program,  
16 make sure our Management knows that.

17 CHAIRMAN WALLIS: It seems to be the rule.  
18 As soon as something that's been expensive starts to  
19 give useful results, you stop it. So all our previous  
20 investment is thrown away .

21 MR. KELLY: Yes. Please give that message  
22 very clearly.

23 DR. BANERJEE: There was a reason, though,  
24 that was sort of -- you know, there were presentations  
25 that were made before the RBHT or after, I'm not sure,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to us where the analysis showed that it really didn't  
2 matter what the details of the droplet field were.  
3 There were some bounding sort of assumptions made. I  
4 was trying to remember, was it S-RELAP or which way,  
5 whether it was Forslund-Rohsenow or you -- it seemed  
6 that the peak clad temperature was remarkably  
7 insensitive to details of the model in this dispersed  
8 boiling region, or whatever, that was taken.

9 MEMBER RANSOM: That was in the quench  
10 region.

11 DR. BANERJEE: Well, no, it was for the  
12 PCT, which is not necessarily in the quench region  
13 somewhere downstream being steam-cooled. And if they  
14 took, say, just steam cooling and said that -- and  
15 film was still important, of course, but if you say  
16 everything became steam or it stayed as droplets, it  
17 didn't really make too much difference. This was the  
18 argument made to us that the PCT is remarkably  
19 insensitive to the details of these models. So if  
20 that's the case, then the case has to be made on a  
21 different basis. I don't know what the truth is here,  
22 because that was being argued by some group of people  
23 who are trying to get approved as it was.

24 MR. BAJOREK: This is Steve Bajorek from  
25 Research. Then that must be something that's incident

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 to that code only, because I've done lots of  
2 calculations with COBRA TRAC and it is very sensitive  
3 to your assumptions on droplets, the droplet size and  
4 the local flux that you have near the PCT location.  
5 The reason for that is depending on your droplet size  
6 and how it interacts with the grids, that is what's  
7 providing a lot of the cooling to the steam itself,  
8 and it will have a very large impact on the steam  
9 temperature.

10 DR. BANERJEE: Then we should have or you  
11 should document it because the analysis that was  
12 presented to us for S-RELAP was that the, at least for  
13 the large-break LOCA, the details of the correlations  
14 that were assumed did not have a really large effect  
15 on PCT which was why they could afford to be rather  
16 cavalier about what they used. And they showed some  
17 graphs, right. And that left, at least me, with the  
18 feeling, maybe incorrectly, that this is something  
19 new, I haven't seen this before, so maybe if this is  
20 the case, then all this stuff isn't all that useful.

21 MR. KELLY: Now, we can talk about the  
22 Forslund-Rohsenow a little bit later because it has a  
23 very checkered history having to do with the CSAU  
24 study. But --

25 DR. BANERJEE: Maybe you have to make your

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 case better.

2 MR. KELLY: Yes. I agree with Steve but  
3 there are some compensating effects for an integrated  
4 system. You know, if you have more heat transfer in  
5 the core, you tend to carry more liquid up. If it  
6 gets to the steam generators and you have steam  
7 binding, you reduce the reflood rate, then you get  
8 less heat -- so there are some global parameters that  
9 tend to make the models less sensitive than they  
10 appear in the separate effects tests. But how  
11 sensitive I don't know, and today I can't tell you  
12 with TRAC-M because the oscillations that we see are  
13 so large that the results just simply aren't  
14 meaningful.

15 DR. BANERJEE: I think the argument, Joe,  
16 was that let's say that there was a certain amount of  
17 liquid in train, that's important, of course. If it  
18 all turns to steam, then it gives you some enhanced  
19 steam flow rate and some reduction in steam  
20 temperature. Convective cooling to that steam then is  
21 quite effective. And then if these don't turn to  
22 steam but stay as droplets, they enhance the heat  
23 transfer due to various effects. And the upshot of  
24 all this is that you get roughly the same answer. So  
25 the details of the droplet field are less important

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 than the details of the entrainment, how much is  
2 entrained.

3 MR. KELLY: What I'd say is that one catch  
4 in all this is you have to say where do those droplets  
5 turn into steam? If you'll allow those droplets to  
6 turn to steam in the core, then the steam cooling  
7 argument works. But if instead you really do have a  
8 good model for this steam generator and the various  
9 processes that occur between the upper plenum hot leg  
10 to steam generator, if one of those droplets that turn  
11 into steam is in the steam generator so that they  
12 provide a back pressure and limit your reflood rate,  
13 that's entirely different.

14 DR. BANERJEE: They were letting it go  
15 into the channel itself. They were saying, "Here we  
16 have droplets and here we have steam, and the answer  
17 is about the same." But that's only from the cooling  
18 point of view.

19 MR. KELLY: Yes. But suppose rather than  
20 letting droplets turn into steam there you have the  
21 droplets that carry off and provide your back pressure  
22 by evaporating in the steam generator. Then the  
23 models that you used from the droplet are very  
24 important, just as Steve said. Now, it depends on  
25 what heat you take out and where you take it out is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 what's really important.

2 MR. BAJOREK: That sounds like a  
3 compensating error somewhere in their formulation.

4 DR. BANERJEE: Could be, depending on the  
5 position, Steve.

6 MR. BAJOREK: Because even the FLECHT  
7 SEASET tests with one inch per second, and there's a  
8 couple down at 0.8 inch per second, all showed very  
9 high carryover, 70, 80, 90 percent. And those are  
10 droplets which if they don't become de-entrained in  
11 the upper plenum are going to contribute to a steam  
12 binding effect.

13 DR. BANERJEE: You may be completely  
14 right. All I'm saying is it needs to be documented,  
15 because there was a school of thought put forward that  
16 it wasn't terribly important whether you used  
17 Forslund-Rohsenow or this or that or whatever.

18 MR. KELLY: I just looked at my watch and  
19 saw what time it is, so I'm going to skip a whole  
20 bunch of viewgraphs here on why we're doing this and  
21 why I think it's a good idea and try to get you to  
22 some of the stuff I think is more important.

23 Schedule, everything for the test has been  
24 pushed back due to the budget cuts. Basically, we're  
25 only going to be able to afford to run the facility

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 for about half of the year, and so things that we're  
2 planning on doing in two years are now going to be  
3 stretched out to four to five. We already discussed  
4 that.

5 CHAIRMAN WALLIS: You already had a five-  
6 year plan just to spread out for ten years.

7 MR. KELLY: In effect, due to taking  
8 longer to build the facility and now the budget  
9 reduction.

10 MEMBER KRESS: Is all this due to the  
11 continuing resolution?

12 MR. KELLY: No. Reallocation of resources  
13 --

14 MEMBER KRESS: Reallocation.

15 MR. KELLY: -- to the advanced plants.

16 MEMBER KRESS: Okay.

17 MR. KELLY: When I talk about what's in  
18 MOD2 and the development they did, I would say that  
19 development is well-intentioned, and what I mean here  
20 is they used data from fundamental experiments, ones  
21 that were in tubes, they did things like look at the  
22 jet breakup experiments by Ishii and DeJarlais. They  
23 did give a consistent treatment of flow regimes  
24 between interfacial sheer drag and heat transfer, and  
25 the way they did that was with a position-dependent

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 inverted annular flow regime map, which I'm going to  
2 show in the next slide. So it's based upon distance  
3 from the quench front. And there was a big -- I  
4 should probably have used a different font here.

5 The model that was installed in the code  
6 is very, very complicated, and the level of detail  
7 there is not at all supported by experimental  
8 evidence. It has 48 coefficients which can be  
9 adjusted, and they actually went through a three-year  
10 long program trying to, using a non-linear optimizer,  
11 adjust these coefficients in order to improve their  
12 calculations, but that was a dismal failure.

13 CHAIRMAN WALLIS: How many data points are  
14 there?

15 DR. BANERJEE: Forty-eight.

16 MR. KELLY: And you'll see where some of  
17 those come in just a second. It also contains  
18 multiple moving functions, so you're never really sure  
19 what's being used. You know, what correlation is  
20 being used here at this point in the transit, no idea.  
21 It ignores differences between rod bundles and tubes,  
22 and it is susceptible to very large numerical  
23 oscillations.

24 MEMBER FORD: Joe, excuse me, you said  
25 that this is not -- likely will not be funded because

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of reallocation of money to the advance reactors?

2 MR. KELLY: Well, the funding has been  
3 reduced.

4 MEMBER FORD: Yes.

5 MR. KELLY: Actually, I may have misstated  
6 that. That's probably a better question for my  
7 Management to answer. But at any rate --

8 MEMBER FORD: But this is relevant to the  
9 advance reactors.

10 MR. KELLY: Well, if you're talking about  
11 ESBWR, for example, if in a large-break LOCA it does  
12 not dry out, which I believe is the claim, then  
13 refloods in their mind doesn't occur. It is very  
14 relevant to AP1000, but of course we're just coming in  
15 a little late for that. This would have been great if  
16 we had done it five years ago.

17 And beyond that, it would be relevant for  
18 CANDU, ACR-700 but that's sideways, so you'd need a  
19 whole different set of reflood experiments and a lot  
20 of other things for us to accurately model a CANDU.

21 So the reflood flow regimes what they did  
22 is they used the location of the quench front, which  
23 is Zchf, as a trigger for the flow regimes and  
24 calculated distances downstream of that at which you  
25 would go through each of these flow regimes. And

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that's bad enough, but what's worse is they made it a  
2 function of a capillary number where the capillary  
3 number has the liquid velocity at the quench front in  
4 it. And if any of you have ever looked in detail at  
5 a TRAC or RELAP5 calculation and looked in a reactor-  
6 type system, looked at the liquid velocity at this  
7 point, it wildly oscillates. So if you do that and  
8 all these links are functions of that, all of these  
9 links are going to wildly oscillate, and the net  
10 result is your vapor generation rate wildly  
11 oscillates. And in this particular case, what happens  
12 is the water would come in, you just blow it all out  
13 the bundle. For FLECHT SEASET, the upper plenum acts  
14 like a phase separator, so once you blow that water up  
15 in the upper plenum it's gone. The bundle sits there  
16 quiescent for a while until enough inventory's built  
17 up and it does it again.

18 CHAIRMAN WALLIS: Coffee percolator.

19 MR. KELLY: It's more violent. Let me put  
20 it this way: If you turn the critical flow model on  
21 at the top of the bundle, it affects the answer.

22 CHAIRMAN WALLIS: You actually have  
23 critical flow at the top?

24 MR. KELLY: Yes. That's how bad it was.

25 DR. BANERJEE: Sonic velocities.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 CHAIRMAN WALLIS: Whose fantasy was this?

2 MR. KELLY: Well, they didn't realize  
3 that's why the answers weren't quite as bad as they  
4 really were.

5 This just shows you the distance for some  
6 -- if these velocities were constant, what some of  
7 those links would be in centimeters, and it shows you  
8 the degree of resolution they were trying to get when  
9 the best -- smallest node sizes you typically will  
10 ever use will be about 25 centimeters.

11 For each of those regimes, there are  
12 different correlations for heat transfer to the wall,  
13 from the wall to the vapor or wall to liquid. And so  
14 all these different models, and then there are these  
15 various different ramps. So I mean I took a look at  
16 this and tried to figure out what's salvageable and  
17 what isn't, and I ended up deciding to throw it all  
18 away.

19 CHAIRMAN WALLIS: Where was this done?

20 MR. KELLY: Los Alamos.

21 CHAIRMAN WALLIS: It wasn't done in an  
22 academic environment, was it?

23 MR. KELLY: But this model got a best  
24 paper award at a conference.

25 So at any rate, I started doing assessment

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 against FLECHT SEASET Test 31504, which is basically  
2 just a one-inch per second reflood case. This is  
3 axial profile of the clad temperature, this is the  
4 code calculation, this is the data at the time of the  
5 PCT, and we're already overpredicting by almost 100  
6 degrees C, but the real difference is the quench front  
7 is lagging behind about half a meter. It gets  
8 absolutely ridiculous as you go a little bit further  
9 in time. This is the quench front propagation. The  
10 TRAC calculation is so slow because you're throwing so  
11 much water away. It's turning a one-inch per second  
12 reflood rate test into about a 0.2-inch per second  
13 reflood test.

14 CHAIRMAN WALLIS: It's being conservative.

15 MR. KELLY: Yes. And then some. But you  
16 can't say that if you were to apply it to an integral  
17 test, because then when you throw the water in the  
18 upper plenum, the next time step when all is  
19 quiescent, the water falls back down. So the answers  
20 won't look this bad but I still sure wouldn't believe  
21 them.

22 And this is an indication of the  
23 oscillation. This is the vapor temperature as a  
24 function of time. This is the data. This is somewhat  
25 similar to what you'll see from RBHT, except the RBHT

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 microthermocouples actually seem to work a little bit  
2 better. And this is 400 to 800 degrees K in the vapor  
3 temperature, and that's just an indication of how bad  
4 things are.

5 MEMBER RANSOM: These kind of things only  
6 happened in RELAP5.

7 MR. KELLY: So, obviously, we need a  
8 better model with emphasis on let's get rid of this  
9 oscillatory behavior and then let's improve the  
10 accuracy.

11 CHAIRMAN WALLIS: There is some real  
12 oscillatory behavior in the real --

13 MR. KELLY: No question. Both the large-  
14 scale downcomer to core oscillations but there's also  
15 a little high frequency that you probably saw in the  
16 movie. That one --

17 CHAIRMAN WALLIS: Bursts of liquid.

18 MR. KELLY: Yes. That one will probably  
19 end up time averaging out, because that's such a  
20 localized phenomena drive, that we're not going to  
21 resolve them in the next few years. We may resolve  
22 them before I retire but not in the next few years.

23 To give us a vocabulary as I go into the  
24 more interesting part of the presentation, I'm going  
25 to talk about four different regimes. This is a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 little cartoon that I scanned out of a FLECHT SEASET  
2 document. Transition boiling, it occurs at the quench  
3 front, so this is where you go from pre-CHF nuclear  
4 boiling type heat transfer to film boiling. It's only  
5 one to two centimeters long, okay? What's labeled  
6 film boiling on here is what's often called and what  
7 I'll call inverted annular. You typically see this  
8 for high flow rate and highly subcooled conditions,  
9 conditions like when you had accumulator injection  
10 . You won't see this regime when you  
11 have, say, HPSI injection and your low plenum's almost  
12 saturated and your flow rates are low. This regime  
13 won't exist at all.

14 It's what they called a transition regime,  
15 which actually covers a much larger part of the  
16 bundle. It's typically between void fractions of like  
17 40 to 90 percent. It's also called inverted slug,  
18 which is what I'll typically say -- agitated,  
19 inverted, annular or froth. It's a mixture of liquid  
20 fragments and droplets and basically occurs when -- as  
21 you go axially in the bundle, your vapor flow rate is  
22 increasing as you go up, because there's just more and  
23 more boiling. At some point your vapor velocities get  
24 to be substantial enough, they can break up this  
25 liquid core, and that's what triggers this regime.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And then above this, the disperse flow  
2 regime, which I'll call a disperse flow film boiling.  
3 When film boiling is stuck as a tag on something here,  
4 we don't really mean annular films. What it really  
5 just means is that the liquid can't touch the surface.  
6 The surface is beyond the Leidenfrost point.

7           And this just shows clad temperature and  
8 heat transfer coefficient versus time mapped against  
9 those regimes for a typical low flooding rate reflood  
10 case. In the disperse flow region, the heat transfer  
11 coefficient gradually increases as the quench front  
12 approaches. That's simply because the steam  
13 temperature has gone down.

14           At some point quite often in these  
15 temperature versus time traces, you'll notice a  
16 distinct discontinuity in the slope, and that's at the  
17 onset of either this inverted slug or inverted annular  
18 where the heat transfer coefficient dramatically  
19 increases over a fairly short distance. Then you  
20 actually have the quench front, and that's when you  
21 need the log scale for the heat transfer coefficient.  
22 Downstream this can be nuclear boiling or just  
23 conduction to liquid. And all you're doing is  
24 removing the decay heat, so the heat flux is on the  
25 order of five watts per centimeter squared, it's very

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 small.

2           So I was going to talk, of course I'm not,  
3 but I was going to talk about five different regimes,  
4 and then for each regime why it's important, give you  
5 some background that I've looked at, talk about the  
6 constitutive models that are needed and then how we'll  
7 use the RBHT data. We're obviously not going to get  
8 through what I've prepared. I think I'm going to do  
9 the first one in detail so you can see where I'm  
10 coming from and then we can check the time and then  
11 maybe come back another day.

12           CHAIRMAN WALLIS: My suspicion is that  
13 these are fairly complicated models, so even though  
14 you don't want 48 coefficients, you've got to figure  
15 out what's the essential physics that ought to be  
16 represented without undo complication. But looking at  
17 the whole picture, it looks as if it's not a very  
18 simple thing you're going to try to describe. So I  
19 would think that you really have to, as we said  
20 before, do it in coordination with the experiment,  
21 because you will be asking questions as you develop  
22 the model which the experiment may not have answered,  
23 and this may tell you what you need to measure that  
24 you haven't measured.

25           MR. KELLY: Well, the one thing is I've

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       been in this part of the business for a long time now,  
2       so I have a fair amount of experience, as does Steve,  
3       and we've both worked not only with the experimental  
4       programs in the past but we've both worked with the  
5       code, so we know what the code needs and expects. And  
6       so we tend to serve as technical monitors on these,  
7       and especially with the RBHT Program we've made a lot  
8       of changes in the program based on this, and I'll  
9       point out a couple of those.

10                   CHAIRMAN WALLIS: Okay.

11                   MR. KELLY: But I'll do the first regime  
12       in detail, and then depending upon how much time we  
13       have we'll see where we can go from there, because  
14       this will give you an idea of exactly what you're  
15       talking about.

16                   So I'm going to talk about inverted  
17       annular or film boiling, so this is a regime that  
18       occurs typically just downstream of the quench front,  
19       and it occurs when the liquid is subcooled. It's  
20       largely responsible for the quench front propagation,  
21       the rate at which you're quenching the bundle. You  
22       know, people talk about axial conduction governing it.  
23       It's really only the case for like an idealized  
24       falling film situation. What you really have here, if  
25       I go back to this slide, is you have a region of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 enhanced heat transfer that rapidly cools the rods to  
2 the point at which the rod can rewet. And, of course,  
3 once it gets to that point, it quenches instantly.  
4 But it's this precursory cooling that really governs  
5 the rate.

6 And if you compare the quench front  
7 velocities that you see in tests like this with ones  
8 that will be governed by axial conduction, it's more  
9 than an order of magnitude faster, sometimes it's two  
10 orders of magnitude faster. So it's getting this heat  
11 transfer right. This greatly augmented heat transfer  
12 coefficient just downstream of the quench front is  
13 what really --

14 CHAIRMAN WALLIS: Is that what you mean by  
15 inverted annular film boiling, what you call the frost  
16 region in the --

17 MR. KELLY: In some slides, yes. It  
18 depends on when I made the slide.

19 So it controls the quench front  
20 propagation, but also it gives you the vapor -- in  
21 concert with the regime just above it, the inverted --  
22 what I'll call inverted slug, it gives you the vapor  
23 generation rate that ends up providing the vapor mass  
24 flux, the vapor temperature and the entrainment rate  
25 downstream to the dispersed flow region which is where

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 you calculate the PCT. So this serves as a boundary  
2 condition for your dispersed flow film boiling region.  
3 And so these are the two reasons it's important.

4 To get into the background, when I first  
5 started doing this five years ago, I looked at some  
6 PERICLES tests, and these were tests I had started to  
7 look at when I worked in Grenoble. It's a fairly  
8 large rod bundle, and my conclusions from looking with  
9 these tests, and I'm going to show you why, or at  
10 least partially, is that the most important effect for  
11 this regime was the void fraction profile just  
12 downstream of the quench front.

13 More recently, I've looked at more  
14 fundamental tests, and these are steady state, low-  
15 quality film boiling in a tube done by Fung. And so  
16 it's a tube with a hot patch which is used to freeze  
17 the quench front near the inlet and then so you're  
18 able to actually do a steady state film boiling  
19 experiment with low-quality conditions and the type of  
20 heat fluxes in the range that you would see in a  
21 reflood case. They also included a gamma densitometer  
22 to measure the void fraction.

23 When I looked at these, I realized that  
24 the subcooling was also highly important and that we  
25 were going to have to do a much better job of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 interface to liquid heat transfer -- interfacial heat  
2 transfer coefficient. And I'm going to show you these  
3 now. That's just the conclusions I had coming into  
4 this.

5 PERICLES, as I said, is a large bundle,  
6 mixing grids, typical co-sign power profile, a three-  
7 bar high inlet subcooling, range of mass fluxes,  
8 instrumentation was fairly standard, just rod  
9 thermocouples and Delta P cells, but the Delta P cells  
10 were over by half a meter, whereas in FLECHT SEASET  
11 they were about 25 centimeters and in RBHT we go all  
12 the way down to eight centimeters.

13 So what I did I went out to a point in  
14 time where the quench front was just a little below  
15 the mid-plane, and at that instant in time, I did an  
16 axial scan of all the clad temperatures in the center  
17 parts of the bundle. And by doing an inverse  
18 conduction solution generated the heat transfer  
19 coefficients for all those points. So what I'm  
20 plotting is the heat transfer coefficient versus  
21 distance, and this is distance downstream of the  
22 quench front, okay? And what you see is -- oh, when  
23 I say heat transfer coefficient in this context, I'm  
24 always referencing it to T-sat just so we have a  
25 common basis, because you have superheated steam, et

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 cetera. So it's reference to T-sat. You see a large  
2 value just downstream of the quench front and an axial  
3 decay.

4 DR. BANERJEE: How did you do the heat  
5 flux? Were there any direct measurements of heat  
6 flux?

7 MR. KELLY: No, inverse conduction.

8 DR. BANERJEE: Okay. So you inferred  
9 them.

10 MR. KELLY: Which isn't too bad as long as  
11 it's not changing too rapidly. But one of the things  
12 I wanted to look at, because a lot of the correlations  
13 -- typically what's done is people grab off Bromley  
14 because it has a nice pedigree and it gives you the  
15 right order of magnitude, and then there are void  
16 fraction modifiers, sometimes mass flux modifiers and  
17 sometimes subcooling modifiers all stuck on top of it.  
18 But it's really the wrong -- it doesn't describe the  
19 right phenomena. It simply is wrong here. So I knew  
20 I wanted to look at the liquid mass flux effect. So  
21 three different tests at 80, 130 and 190 kilograms  
22 meters squared per second, where 130 is about six  
23 inches per second, just to correlate that. And so  
24 this is the same plot, and what you see is there's  
25 some effect but it's not terribly large, but it is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 there.

2           What I wanted to then do was go and check  
3 the void fraction. Now, remember, I only get the void  
4 fraction with all the caveats based upon Delta P cells  
5 that are fairly large, so these are the three  
6 different tests, going from 80 to 190 kilograms per  
7 meters squared per second. And the individual points  
8 here are the actual void fractions, if you will, or a  
9 representation of how much liquid was in that Delta P  
10 span. Between those I'm just doing a simple linear  
11 interpolation. This is simply not right, it just  
12 gives me an idea of what the void fraction may have  
13 been, and I'm explaining this so you know the caveats.

14           Then I went and replotted this as heat  
15 transfer coefficient versus this interpolated void  
16 fraction. In all three -- data from all three mass  
17 fluxes went away, within a lot of scatter but still  
18 the mass flux effect went away. So my conclusion was  
19 that the axial profile of the void fraction just  
20 downstream of the quench front is what was the most  
21 critical parameter for us to get correct.

22           One of the deficiencies in previous  
23 reflood tests, like FLECHT SEASET, is the Delta P  
24 spans were, say, one foot, 25 centimeters -- well, 30  
25 centimeters, excuse me. And when you do that, this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 regime quite often is only a few inches long. You  
2 know, it certainly isn't always multiple feet, and so  
3 if you want to get an axial profile, you need much  
4 smaller. And so we went down to three inches and we  
5 did some hand calculations showing that we thought  
6 with three inches, with the accuracies of the cell,  
7 we'd get meaningful data, and it seems that we are if  
8 you look at the traces. Unfortunately, I don't have  
9 any to show you, but they seem to make sense.

10 CHAIRMAN WALLIS: You're really plotting  
11 heat transfer coefficient against Delta P or something  
12 because the void fraction comes from Delta P.

13 MR. KELLY: Right. It's an indication of  
14 the collapsed liquid level in that span. So it's just  
15 an indication. But that's why we, if you will, forced  
16 Penn State to use such a fine array of Delta P cells  
17 over the middle section of this bundle was so we could  
18 look at this and see if this was indeed the case.

19 I've already said this, and this was the  
20 result. In the middle part of the bundle, we put 11  
21 DP cells with a span between eight and 12 centimeters.

22 CHAIRMAN WALLIS: Well, it might be that  
23 Delta P in your void fraction is a measure of the  
24 mixing of the turbine set up by the relative velocity  
25 which is holding up this liquid at the boiling void

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 fraction, rather than the absolute velocity turning to  
2 the mixing. I don't know, it just --

3 MR. KELLY: Yes. You can do --

4 CHAIRMAN WALLIS: There's got to be some  
5 kind of velocity, it seems to me, that's giving you  
6 the heat transfer coefficient. Maybe it's the  
7 relative loss that it's holding up the job that's  
8 giving the void fraction rather than the absolute  
9 total velocity.

10 MR. KELLY: Yes. In this case, it's more  
11 a liquid column, and we'll get to that. You can do  
12 estimates of what the acceleration and frictional  
13 pressure drops are for this regime, and they're  
14 relatively small compared to the gravitational head.

15 DR. BANERJEE: But if the liquid column  
16 has to be carried out at some point, the thing has to  
17 look almost like a fluidized bed, right, with a  
18 pressure drop?

19 MR. KELLY: That's what I think happens  
20 downstream of this.

21 DR. BANERJEE: Okay. Balance the  
22 gravitational head.

23 MR. KELLY: Yes. And so you can take your  
24 equations, get rid of some of the terms and do the  
25 backout, you know,  $\alpha_1 - \alpha \Delta G$

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 equals --

2 CHAIRMAN WALLIS: I'll just say for the  
3 record I'm going to give the gavel to my colleague,  
4 Dr. Kress, here. I'm going to go and get an airplane.

5 MR. KELLY: Okay.

6 CHAIRMAN WALLIS: This has been very, very  
7 interesting.

8 MR. KELLY: Well, thank you.

9 CHAIRMAN WALLIS: I'm sorry I won't see  
10 the rest of it, but I can read it.

11 MR. KELLY: Well, I'll probably just do  
12 this one and then go near the end, and then we can  
13 revisit this at another time.

14 But before you go I'm going to try to get  
15 -- this won't let you go so fast. Never mind. I  
16 wanted to show you my last slide, but they'll just  
17 have to tell you about it.

18 MEMBER KRESS: He's got the slides.

19 MR. KELLY: Well, there's one of those  
20 that isn't on there. I don't even know what this is.  
21 I'm going to go back to my presentation. So I  
22 apologize for that. I should have known better than  
23 to --

24 DR. MOODY: Somebody said the best laid  
25 plans of mice and men often --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. KELLY: Does anyone know what this  
2 application is?

3 DR. BANERJEE: Never saw it. Why don't  
4 you just go back to your slide show and just select  
5 your last one?

6 MR. KELLY: That's what I'm trying to do  
7 but it --

8 MR. ROSENTHAL: Slide 39.

9 MR. KELLY: Somehow it's going on Internet  
10 Explorer.

11 MR. ROSENTHAL: -- live in fear that  
12 that's what will happen in the control group.

13 MR. KELLY: I should not have tried to go  
14 too fast. Okay. Now we're back to where I left.  
15 Sorry about that distraction here.

16 Now this is something I looked at more  
17 recently as part of the interim reflood model  
18 development, and it's a low-quality film boiling  
19 experiment done by Fung. I think it was done in AECL,  
20 and so it's a tube, an Inconel tube, with inside  
21 diameter about what you get from a 17 by 17 rod  
22 bundle. There's a hot patch down near the bottom  
23 that's basically a temperature control where you  
24 freeze the quench front here so you create film  
25 boiling conditions and you don't let the tube quench

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 even though you're at relatively low powers. So you  
2 have an array of thermocouples but also a gamma  
3 densitometer. So you would take void fraction  
4 measurements at five locations. The only bad thing  
5 about these tests were they were at atmospheric  
6 pressure. I wish they'd been a little bit higher.

7 And so this is the void fraction  
8 dependence of the heat transfer coefficient. So I've  
9 got the heat transfer coefficient, the same metric  
10 units, versus void fraction, and I'm only showing it  
11 for data that would be subcooled where the equilibrium  
12 quality would be negative. And the various points go  
13 with tests from a mass flux from 100 to 500. Now, for  
14 each of these tests, at most it would be five points  
15 per test, and in fact in the subcooled regime there's  
16 typically only one or two. So when you see a test at  
17 500, maybe two or three of these are from the same  
18 test. The other ones are from a different test at the  
19 same pressure and mass flux but maybe a different  
20 inlets temperature or a different power.

21 The fact that these line up as well as  
22 they do to a void fraction is really pretty amazing  
23 that there's that many different tests and you can put  
24 them all on there, and they're not too very different.  
25 But if you close your eyes and have a good

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 imagination, you can kind of see there might be a  
2 little mass flux effect, but tests at 500 kilograms  
3 per meter squared per second tend to be more near the  
4 top and the other ones a little bit lower, but it's  
5 very small; it certainly is secondary.

6 And something to really note, because this  
7 was really a surprise to me, we're still at negative  
8 equilibrium qualities here. This is subcooled, and  
9 yet the void fraction is up near 70 percent. That's  
10 really pretty amazing, because your view of inverted  
11 annular film boiling is very, very vapor films which  
12 give you void fractions on the order of five or ten  
13 percent. And that's what you get if you take the  
14 Bromley equation and convert those film thicknesses  
15 from it into a void fraction. So we're totally --  
16 something totally different than Bromley.

17 Now, if you convert -- take these void  
18 fractions, turn them into film thickness and make the  
19 same assumption that Bromley made of her conduction  
20 across that thin film, turns out you come very close  
21 here, and you get something that looks like this. And  
22 then if you allow that film to be turbulent and figure  
23 out what the velocity must have been to support the  
24 column of liquid, et cetera, you get something down  
25 here. So something else is clearly going on.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And there have been other tests, like  
2           Costigan and Wade did neutron radiography on a  
3           quenching test and they looked at this inverted  
4           annular region. And you always view it as just very  
5           nice co-axial cylinders sitting there well-behaved.  
6           And then people will talk about waves on the surface  
7           of the core, and all that happens, but what also  
8           happens is the whole core, especially as you get out  
9           to here, this whole core just moves around and comes  
10          very close to one side, then back and forth. And when  
11          it does that, it enhances the heat transfer.

12                   DR. BANERJEE: It also breaks up, goes up  
13          and falls back is what you see in all these tests.

14                   MR. KELLY: Yes. And that could be  
15          happening here as well.

16                   DR. BANERJEE: Yes.

17                   MR. KELLY: Although this is steady state.

18                   DR. BANERJEE: No, I mean even in steady  
19          state.

20                   MR. KELLY: Yes. Especially at one  
21          atmosphere.

22                   MEMBER RANSOM: Well, Joe, are you  
23          planning to use the void fraction as an independent  
24          variable in the heat transfer coefficient  
25          establishment?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. KELLY: Of course.

2 MEMBER RANSOM: The problems I see with  
3 that is void fraction is generally very hard to  
4 predict with these codes. Do you have another model  
5 for void fraction at the quench front or --

6 MR. KELLY: We just have to do a better  
7 job of predicting the void fraction.

8 MEMBER RANSOM: But the void fraction is,  
9 like you said, maybe 20 centimeters averaged over that  
10 that you're going to predict with the code, unless you  
11 subdivide the region some way.

12 MR. KELLY: Well, a couple things. We  
13 will be using smaller nodes because we're able to do  
14 that nowadays because of computer power. It's, of  
15 course, still not the scale you need to, and we'll  
16 just have to do an interpolation of the void fraction  
17 between cells to simulate this axial profile and see  
18 how we do. You know, the codes tends now, even if  
19 they use Bromley, they put some kind of void fraction  
20 weighting on it where they get the void fraction from  
21 the two-fluid solution.

22 DR. BANERJEE: The coarseness of the  
23 noding is true for any correlation you use, whether  
24 you use void fraction or anything else.

25 MEMBER RANSOM: That's true but mass flux

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and some things like are more stable parameters,  
2 actually, and void fractions tend to be wild, all over  
3 the place in most code calculations so that it's going  
4 to feedback into the heat transfer.

5 MR. KELLY: And I'd say it depends on  
6 which mass flux you're talking about. If you're  
7 talking about the vapor mass flux and you don't have  
8 the problems that I described earlier, I agree, that's  
9 relatively stable. If you're talking about the liquid  
10 mass flux, then you have what Professor Banerjee  
11 talked about. Both in reality and in the code, it's  
12 quite often positive/negative. And, actually, the  
13 void fraction is much more smooth than that or at  
14 least it can be.

15 MEMBER RANSOM: How far are you away from  
16 installing some of these models and trying it out?

17 MR. KELLY: The models are being coded  
18 now. They'll be finished by the end of this month,  
19 and we'll be doing the testing starting in January.  
20 And maybe later this spring we'll be back here showing  
21 you what the results are and reviewing each model  
22 individually.

23 MEMBER RANSOM: I think it be interesting  
24 to follow how this goes.

25 MR. KELLY: So this was the first way I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 plotted it, because I still remembered what I saw of  
2 PERICLES, so I had heat transfer coefficient versus  
3 void fraction. And, actually, if you were to override  
4 the two, they would be closer than you would have ever  
5 thought.

6           Then I went back and replotted it against  
7 equilibrium quality, and I got the idea from a paper  
8 by a Professor Takanaka. I don't remember which  
9 university he's at in Japan, but he did very similar  
10 tests using freon, and he was able to do a very, very  
11 nice parametric study, because with freon, because the  
12 temperatures aren't so high, you can change mass flux  
13 like this but hold your heat flux and your inlet  
14 subcooling constant. Whereas here, for every test, as  
15 you change mass flux, those parameters have changed.  
16 So there's a lot of -- even though I'm plotting this  
17 all on the same thing, they're really only at the same  
18 pressure and mass flux. The points for any two  
19 different tests can be at different wall heat fluxes,  
20 different wall temperatures or different -- well, I'm  
21 going to plot it versus this, so that takes subcooling  
22 out.

23           Now, what I want you to focus on at the  
24 moment is the negative quality part of this. We're  
25 going to talk about the positive quality part later.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Maybe not today, I'll mention it briefly at any rate.  
2 And what you see is all of these things come together,  
3 remarkably so. And my conclusion after I thought  
4 about this a long time is what's really happening is  
5 it's the ability of this subcooled liquid core to  
6 absorb the wall heat transfer, you know, the heat from  
7 the wall. It's a sensible heat makeup in the liquid  
8 core that's driving your heat transfer coefficient.

9 And I'll talk about that a little bit more  
10 in the next slide, but my conclusions from that were  
11 that the interfacial heat transfer, and now we're  
12 talking about from the interface to the subcooled  
13 liquid, needs to be a model accurately, and the result  
14 of this was we'll modify the test matrix for the RBHT  
15 to use subcooling at the quench front as one of our  
16 parameters. And this just shows the matrix and so I  
17 -- these are all at six inches a second, and we just  
18 did a parameter in this case on pressure, 20, 40, 60,  
19 with minus 12 percent quality. This is at the 53-inch  
20 rubble. You can get that just from the heat balance.  
21 And this is when we're into the region of the fine  
22 Delta P cells.

23 Then at the same flooding rate we did a  
24 characterization on subcooling. This is what the  
25 inlet subcooling would be, but the point was we went

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to six percent and basically zero quality because I  
2 wanted to look for the regime change and the quench  
3 front. And in one case where the quality was positive  
4 so the void fraction was about 56 percent. Then we  
5 would change the flooding rate to three inches per  
6 second. We couldn't get the minus 12 because the  
7 water just couldn't be cold enough at the inlet, but  
8 we could do the minus six, the zero and then the 56  
9 percent. On the matrix, we put some ten-inch per  
10 second tests, but we were actually not able to run  
11 those tests. The facility had problems with those.  
12 That's something we'll look at again. I wanted to do  
13 that just to extend the mass flux beyond where we  
14 thought it would be so that it would extrapolate more  
15 in the correct direction.

16 Now, this is where I'm going to talk about  
17 what the underlying phenomena actually are. So here's  
18 my little cartoon. We have a wall, we have a vapor  
19 film which is, you know, it's on the order of  
20 millimeters, it's not very thick, and a liquid core,  
21 vapor flow and liquid, subcooled liquid. The heat  
22 transfer process is from the wall to the vapor. Some  
23 of this will go to superheat the vapor. The majority  
24 of it is going to go to the liquid interface, and this  
25 is the assumption in Bromley, for example.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           At the liquid interface, it can do one of  
2 two things: It either generate vapor or it can be  
3 conducted into a subcooled liquid. This flow split,  
4 you know, how much heat generates vapor versus how  
5 much goes into raising the temperature of the liquid,  
6 in effect, is going to determine how thick this film  
7 is. So if you have a very high interfacial heat  
8 transfer rate here, you're simply going to move this  
9 liquid over and get this film thinner and thinner and  
10 thinner until you're able to conduct enough heat  
11 through this vapor film to balance that. That's why  
12 the liquid temperature is so important in trying to  
13 predict the heat transfer. That's why all those  
14 points line up with equilibrium quality, because at  
15 that point in negative quality, equilibrium quality is  
16 nothing more than a liquid subcoolant. But put this  
17 in a -- there also is radiation to the liquid, and  
18 that can be ten, 20 percent type number. So that's  
19 something you want to model as well.

20           So what do you need? Wall-to-vapor heat  
21 transfer, you need something here; vapor-to-interface,  
22 liquid-to-interface, and I'm saying this may be one of  
23 the more important ones; wall-to-liquid radiation. If  
24 you're going to predict the interfacial drag, you  
25 know, once this part has given you a vapor generation

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 rate, which in effect will then give you a vapor  
2 velocity and a liquid velocity just from your mass and  
3 energy, then the interfacial drag here is what gives  
4 you the relative velocity and in effect will determine  
5 what your void fraction is.

6 We also need a criteria for the regime  
7 transition. At which point does this break up and  
8 become something a little bit more similar to a  
9 fluidized bed with lots of liquid fragments going up  
10 and down? Now, traditionally, the assumption has been  
11 vapor film is a laminar and you just have conduction  
12 across it. And so the heat transfer coefficient is  
13 nothing more than the vapor connectivity divided by  
14 the film thickness. And that works as long as the  
15 film is very, very thin, but when you start getting up  
16 to void fractions of 15, 20, certainly by the time you  
17 get to 70 percent it doesn't work any more.

18 A lot of papers in the literature started  
19 to say, well, it's probably turbulence, but more and  
20 more recently what they go to is that it's something  
21 to do with the surface, and part of it is the surface  
22 becomes wavy. You can have low axisymmetric waves or  
23 the big helical kind. You can also have this whole  
24 core moving. So it has something to do with the  
25 waviness of the core is going to enhance this heat

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 transfer coefficient above the  $K$  over  $\delta$ . It's  
2 going to be larger than that. But also it's going to  
3 affect the interfacial drag coefficient. And you need  
4 to get all those models working together in order to  
5 be able to predict both the heat transfer and the void  
6 fraction right. And that's going to be a challenge,  
7 but that's what we're trying to do.

8           And the question is how are we going to  
9 use RBHT data for this? And this, unfortunately,  
10 isn't the best example, but I can tell you what we're  
11 going to do. In a typical test, what we're going to  
12 have available is the wall temperature in the heat  
13 flux, the liquid mass flux. You can infer that from  
14 a mass and energy balance. And the void fraction over  
15 about an eight centimeter interval. It's a  
16 possibility we'll get to liquid temperature because we  
17 have these liquid probes -- well, excuse me, fluid  
18 probes hanging down from each grid spacer, and we also  
19 have those little rakes that measure the center  
20 temperatures of three sub-channels. Now, when they're  
21 in this liquid core how well they're going to work I  
22 don't know yet because they haven't processed the data  
23 and looked at it.

24           But should we be able to get an axial  
25 profile of that liquid subcooling and be able to see

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the rate at which that subcooling diminishes as you go  
2 up the bundle in this film boiling region, then at  
3 least we'd be able to get an order of magnitude  
4 estimate of what the interfacial heat transfer  
5 coefficient is. And to be honest, that's pretty good.  
6 You know, if you look at interfacial heat transfer  
7 coefficients, they tend to go over about five orders  
8 of magnitude, and so if you can get within an order of  
9 magnitude, we'll be a lot better off than where we are  
10 today.

11 So looking at the RBHT, it will give us  
12 the data we need to validate the performance of these  
13 combined models. You put all these models together,  
14 do a simulation, then you can compare the wall heat  
15 transfer coefficient and the void fraction, did we get  
16 both of those right? But it's probably not going to  
17 give us the detailed -- you know, for this regime, the  
18 detailed data we would need for model development. It  
19 can help us in what I'll call a model selection  
20 process. If I go to more fundamental tests, such as  
21 the one by Fung, and, actually, I would like to do one  
22 using freon because you can do much cleaner  
23 parametrics or some kind of refrigerant, and you can  
24 also do a simulation from higher pressure, which is  
25 one of the holes in our database -- is this type of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 regime at high pressure? But it can get us some  
2 information to help us select models.

3 And that brings us to the regime that  
4 Professor Hochreiter talked a lot about, and that was  
5 what I call disperse flow film boiling. And now it's  
6 almost quarter after 12, so how long do you want me to  
7 go? Do you have any --

8 MEMBER KRESS: I think my preference is to  
9 continue on and finish it before we go to lunch. What  
10 does the rest of the Committee thing?

11 MEMBER FORD: Yes. I agree.

12 MEMBER KRESS: Okay. Why don't we just  
13 continue on?

14 MR. KELLY: Okay. Some of this I won't go  
15 through in quite as much as excruciating detail, just  
16 so we get there, because we're only on Slide Number  
17 46. But I'm going to try to at least give you the  
18 essence.

19 Dispersed flow film boiling is obviously  
20 important because peak clad temperature occurs there.  
21 Now, there is some background. This is where I say we  
22 could talk about Forslund-Rohsenow and its very  
23 checkered history. Sometimes you'll see large  
24 overpredictions of the heat transfer. This is  
25 especially during the blowdown phase. When the drop-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 wall contact was put into TRAC-PF1, Forslund-Rohsenow  
2 came about from some liquid nitrogen experiments, and  
3 so what they did -- so they were doing film boiling  
4 using liquid nitrogen as the coolant, and they made  
5 some guesses as to what the droplet diameter would be  
6 and calculated the evolution down the tube of what the  
7 vapor superheating would be, the rate at which the  
8 droplets would evaporate and then force conducted heat  
9 transfer from the wall to that superheated steam. So  
10 you've already got a lot of assumptions built in the  
11 model, what the drop diameter is, et cetera.

12 Then wherever the model did not agree with  
13 data, they assumed it was due to drop-wall contact,  
14 and they took a model developed by Bailey for the  
15 evaporation of liquid drop on a horizontal surface and  
16 said, "Okay. This gives us an idea of what the heat  
17 transfer would be, but we know it has some  
18 approximations in it because we don't have gravity  
19 holding our drops against the wall here. We also know  
20 that we don't know what fraction of the surface is  
21 covered by drops." So they came up with an estimate  
22 of what the fraction of the surface might be based  
23 upon the drop volume fraction and then put a  
24 coefficient -- actually, they put two coefficients in  
25 front of them and lumped them into one. And the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 original correlation on that was, I believe, 0.2 and  
2 in a book by Professor Siu, he said for water it  
3 should be two.

4 I don't know where that came from, but the  
5 value of two is what was put in TRAC-PF1, and if you  
6 look at the void fractions that would have occurred in  
7 those type tests, they're very -- the drop fractions  
8 are very, very small. But if you go through like a  
9 blowdown rewet and put a lot of water through the  
10 core, all of a sudden you're a completely different  
11 regime and especially with that two this gave a huge  
12 heat flux and you could quench a lot of the core. And  
13 so it was non-conservative when you look at LOFT and  
14 some of the other tests. So this was one of the big  
15 deals that came out of the CSAU study was to scale  
16 back that coefficient and to actually put a bias of a  
17 fairly substantial penalty was put on because of this.  
18 So that's kind of the background there.

19 Now, when you look at dispersed flow film  
20 boiling data, and I've been doing that a lot lately,  
21 we have experiments similar to Fung, but that one was  
22 geared towards inverted annular but there are ones  
23 geared towards disperse flow where they measure the  
24 superheated vapor temperature with the same kind of  
25 test. If you -- this appears not to be relevant, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 if all of the heat transfer is now from the wall to  
2 this superheated vapor, you know, plus a small  
3 radiated component which you can estimate, well, they  
4 don't line up with any kind of force convective heat  
5 transfer correlation you and I have seen. I'm going  
6 to show the results of that in a second.

7           They can be quite a bit larger, and the  
8 reason they're larger is that the presence of this  
9 first phase somehow enhances the heat transfer, and it  
10 can do it any number of ways. One of the theories is  
11 that it's through turbulent enhancement, the weights  
12 behind these drops actually enhance the free string  
13 turbulence level, enhance the heat transfer  
14 coefficient. Of course, I'm nervous talking anything  
15 about turbulence in front of you.

16           But the other thing, the other way to look  
17 about it is that if the drops are really small, think  
18 of them as this distributed heat sinks in this  
19 channel, and you can actually calculate that for  
20 laminar flow, and you get pretty large enhancements  
21 just by having changed the temperature profile over  
22 the channel.

23           So this is a reality, and this is  
24 something codes don't model. The only code I know of  
25 that has a model for this in it is COBRA-TRAC, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 that was one we put in based upon something that had  
2 been done for BART back in 1984, and it was a  
3 turbulence enhancement model or a very crude approach  
4 to turbulence enhancement.

5 The other thing you see, and you see it in  
6 RBHT, FLECHT SEASET or FEBA, is that there's a very  
7 large heat transfer enhancement due to the presence of  
8 the grid spacers. And in RBHT we've seen as much as  
9 a 200 degree C drop as you go past the grid spacer in  
10 the rod temperature. And part of that is because  
11 these are mixing vane grids so they're very effective.  
12 They're either capturing or breaking up rocks.

13 Here's my cartoon for dispersed flow, and  
14 what I'm going to talk about now is how it's  
15 traditional in model. Three modes of heat transfer:  
16 conduction, radiation and drop-wall contact. So this  
17 is very similar to what I showed for inverted annular.  
18 Convection from the wall to the superheated vapor.  
19 Some of that is sensible heat to the vapor. Some of  
20 it is then retransmitted from the hotbed to the  
21 surface of the drop through interfacial heat transfer  
22 where it causes evaporation of the drops.

23 And this is the primary heat transfer  
24 mode. The drops are a pretty effective heat -- a  
25 fairly effective heat sink. There's also radiation to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the drops and radiation to the vapor, but for low-  
2 pressure vapor, this is really negligible. This one,  
3 on the other hand, it can be -- typically, it's around  
4 five percent, but if you have a co-signed power shape  
5 in the bundle, up near the top of the bundle the vapor  
6 can start to get hotter even in the rods, and then the  
7 radiation can become a larger and larger component of  
8 the heat flux.

9           The third one is drop-wall contact.  
10 Obviously, if you've ever looked and you have seen the  
11 movies, droplets don't just travel nice right down the  
12 middle of the channel, everything is moving around  
13 flat, hitting against -- now, they can't contact but  
14 a drop can come over, spread out and underneath it you  
15 can get an enhanced region of heat transfer. And this  
16 is where the logic behind like Forslund-Rohsenow came.  
17 But since that time, Forslund-Rohsenow must have been  
18 in the early '60s. I don't remember the year but it's  
19 pretty old. Since that time there have been a lot of  
20 separate effects tests, you know, dropping little  
21 drops from a syringe down on a hot plate kind of test  
22 where they then measure how much either the plate  
23 cools off or how much of the drop evaporates.

24           And what it turns out is as long as your wall  
25 temperature is greater than some mythical temperature

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 which I'll call Tmin, you know, hot enough that the  
2 drop can't wet the surface, only a small fraction of  
3 a percent of this drop is going to evaporate. And  
4 this heat transfer rate then is actually smaller than  
5 the uncertainty in this one. So I don't see the point  
6 of putting a very large detailed model in for this  
7 when this is smaller than the uncertainty in this one.  
8 So I'm going to leave it out, at least for now.

9 MEMBER KRESS: Good choice.

10 MR. KELLY: Now we're going to talk about  
11 two-phase enhancement.

12 DR. BANERJEE: Before you leave it, I  
13 didn't realize you were -- I guess it really depends  
14 on the population of drops and for most of these  
15 problems there are very few drops around. So in that  
16 case, the convection is likely to be most important.  
17 But if you had a higher population of drops, the drop  
18 wall contact and enhancement there may be significant.  
19 So I suppose it depends on the void fraction, really.  
20 So how are you defining the boundaries of this in  
21 terms of the void fraction?

22 MR. KELLY: When we get to the inverted  
23 slug --

24 DR. BANERJEE: Right.

25 MR. KELLY: -- let's talk about that then.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: Okay.

2 MR. KELLY: Because I agree. I mean,  
3 obviously, in --

4 DR. BANERJEE: If you've got a bed of  
5 drops, this is going to be quite high, if it's drops  
6 and not big chunks of liquid.

7 MR. KELLY: I don't agree -- I mean I  
8 agree with what you're saying but only up to a point,  
9 and I'll argue why later.

10 DR. BANERJEE: Okay.

11 MR. KELLY: But I do agree, though, like  
12 say, for example, if you're in a place where you're  
13 rolling out aluminum and you have sheets of aluminum  
14 coming out of a mill and you have high velocity water  
15 sprays directed on the surface, you can get pretty  
16 high heat transfer coefficients due to this, because  
17 they found that was a more economical way to quench it  
18 than ducking in a pool. So that's actually done in  
19 industry. But you look at the jets and you have very  
20 large masses -- mass fluxes -- mass flow rates of  
21 water being driven under the surface at high velocity.  
22 And the degree to which this droplet spreads, how  
23 close it gets to the wall and how much heat it can  
24 remove from the wall is dependent, if you will, like  
25 on a droplet Weber number that's normal to the wall.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So our droplets, which zigzag around, they  
2           may approach the wall, but they're never slammed  
3           against it at several meters per second. Or if they  
4           are, it's only down near a quench front. It's  
5           certainly not several meters away.

6           DR. BANERJEE: And there are actually very  
7           few of them around, surprising enough.

8           MR. KELLY: In the dispersed region, I  
9           once calculated what the drop volume fraction for a  
10          rainstorm at one inch per second is -- I mean one inch  
11          per hour rain, which, you know, you can get very, very  
12          wet if you walk outside. It's like less than ten to  
13          the minus five is the volume fraction of drops. So  
14          you're right, there's very little, but you can sure  
15          get wet if you get in it.

16          Two-phase enhancement, this is of the  
17          vapor conductive heat transfer. And what you'll see  
18          is at that the presence of a dispersed phase enhances  
19          that component of the heat transfer over and above  
20          what you would normally calculate. I mean in  
21          retrospect it's obvious. You're obviously changing  
22          the temperature profile and the velocity profiles and  
23          maybe the free stream turbulence level. So, of  
24          course, it had to be in effect, but it's actually a  
25          pretty large effect at the lower Reynolds numbers that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we see in reflood calculations.

2 And what you also see in current models is  
3 every now and then you'll see a calculation where for  
4 at least this one reflood test they will nail the peak  
5 temperature for the hot rod. It will be just dead on.  
6 But when you do that and you don't have this effect  
7 in, what you'll find is the convective heat transfer  
8 coefficient is actually too small, and what they've  
9 compensated for is by the vapor temperature will be  
10 cooler so that the product is the same. And when you  
11 do that, sure, you can get that one temperature right,  
12 but then you can't predict the temperature histories  
13 at both the center line and in the upper elevations.  
14 You can't have it both ways. You can tune it to one  
15 location but not for all.

16 DR. BANERJEE: I think this is essentially  
17 what these S-RELAP people, or whatever, did is they  
18 got the PCT right, or whatever, but at completely the  
19 wrong time. It has nothing to do with the real  
20 experiment. But they said it at least bounds the PCT  
21 because they're just redistributing the -- they're  
22 using the superheat of the vapor. That was the  
23 argument we went through. So if PCT is the only  
24 criteria, which I don't think it should be, then, you  
25 know, they say it doesn't really matter. That was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 sort of --

2 MR. KELLY: Okay. I can show, and I'm  
3 going to show in the next slides, that the enhancement  
4 does exist. The question is what's the mechanism for  
5 it, and you can read any number of papers on either.  
6 If you look at gas particle turbulence, what you'll  
7 find is quite often they talk more about turbulence  
8 modulation rather than enhancement, and that's  
9 especially true of particles in, say, the 100-  
10 millimeter range -- excuse me, 100 micron range. When  
11 you start getting up to a millimeter or more, then you  
12 might have enough weight turbulence to actually  
13 enhance it, and that's where our droplets are. So  
14 maybe this occurs, but for laminar flow you can show  
15 this occurs. But it's more likely a combination of  
16 the two and maybe even something we haven't thought of  
17 yet. But these are the two theories that are out  
18 there. But the bottom line is the vapor conductive  
19 heat transfer coefficient is not just a function of  
20 the vapor Reynolds number and the fluid properties  
21 like we normally would calculate it.

22 MEMBER KRESS: Are you already  
23 interpreting flow about the droplet enhancements?

24 MR. KELLY: No. You can be but more than  
25 likely you're in the transition regime and down near

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 where you would expect a transition towards laminar.

2 This is the Lehigh three by three rod  
3 bundle, so it's a little rod bundle, it's only a  
4 little bit more than a meter tall, and they tried to  
5 build a hot patch on the bottom of each rod so they  
6 could emulate these two tests. Again, the drawback  
7 here is they're all at one bar in a fairly limited  
8 range of conditions. They couldn't go very much or  
9 they couldn't keep the rods from quenching.

10 But they do measure the vapor temperature.  
11 They come in with a doubly-aspirated steam probe and  
12 measure the temperature out near the center of this  
13 little bundle. So at that location, it's a steady  
14 state test, so you know the mass flux. You can do a  
15 mass energy balance using that measured temperature  
16 and get the actual quality here. So you know the  
17 vapor mass flux and the vapor temperature and the wall  
18 temperature and the heat flux.

19 So using all that, you can calculate a  
20 Nusselt number, divide it by your Prandtl to the one-  
21 third, and here is the data. This is against vapor  
22 Reynolds number. This is the Dittus-Boelter  
23 correlation which you wouldn't really expect to apply  
24 for a rod bundle so much. This is a FLECHT SEASET 161  
25 rod. This is from their steam cooling test. So in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 the transition region, this is 1,000, this is 10,000.  
2 Most of this data is between about 500 and 6,000 or  
3 so. So this kind of gives a lower bound and what it  
4 kind of looks like is if you continued this out to  
5 higher Reynolds numbers, maybe it would merge to just  
6 the force convective component. And, certainly, down  
7 near laminar this is 100 percent higher.

8 Same kind of test but now this is in a  
9 tube, also done at Lehigh. Wider pressure range, mass  
10 flux and heat flux range. In this case, it's a  
11 Nusselt number that I'm plotting, not divided by the  
12 Prandtl, against the vapor Reynolds number. The  
13 orange triangles are the dispersed flow data. The  
14 little blue asterisks are the single-phase Nusselt  
15 number calculated using a more correlation, one due to  
16 Gnielinski, it's a Russian author. And that's why  
17 there's some scatter here. These include the  
18 variation of the fluid properties, the variable  
19 property effect. And since each of these data points  
20 are at different local conditions, this is a function  
21 of the fluid properties as well as the Reynolds  
22 number.

23 But what you see is the dispersed flow  
24 data at higher Reynolds numbers, about 20,000 or so,  
25 it's about 20 percent enhanced. But, again, as you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 move down into the transition region, down towards the  
2 laminar, you come up with 100 percent or so.

3 DR. BANERJEE: There's more scatter down  
4 there, so there's some other effects.

5 MR. KELLY: Well, these are at different  
6 liquid volume fractions, if nothing else. It's not  
7 just a function of this, it's a function of some other  
8 things.

9 DR. BANERJEE: Other variables.

10 MR. KELLY: The point of this is that and  
11 also that it can be sizable and it's something we  
12 should look at.

13 This is actually poorly organized in the  
14 sense that I don't directly go from what I just talked  
15 about to how we're going to do the RBHT. Instead I  
16 was going to talk about drop diameter. So what I will  
17 try to do is skip forward a little and go to -- these  
18 are the models that we're going to end up needing, and  
19 I'll talk about each of these in turn until you get  
20 tired of hearing my voice. But what I'm going to talk  
21 about now is just the wall-to-vapor convective heat  
22 transfer.

23 So this is how we're going to model it:  
24 Force convection heat transfer coefficient by  
25 something like Gnielinski, wall minus vapor

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 temperature, it's going to be one plus this two-phase  
2 enhancement factor, and then we're going to add the  
3 radiated heat flux to it.

4           So the first thing you need is you need  
5 that single-phase coefficient. The second thing you  
6 need is the enhancement factor. So this is single-  
7 phase data from the steam cooling test at FLECHT  
8 SEASET from the 161 rod bundle, vapor Reynolds number,  
9 Nusselt over Prandtl number to the one-third, and  
10 these -- basically, each Reynolds number is pretty  
11 much one test. And then the reason for all the  
12 asterisks is they use the sub-channel analysis code to  
13 back out the vapor temperature for each sub-channel,  
14 calculated a heat transfer coefficient for that. So  
15 that's where this spread comes in.

16           The blue line is Dittus-Boelter. This is  
17 the FLECHT SEASET. So that doesn't look too bad, so  
18 we need something that's close to that, and that's  
19 just to capture the rod bundle effect, because rod  
20 bundles are not tubes. So you show a correlation that  
21 is a function of the rod bundle geometry.

22           But you also want to look at the convected  
23 enhancement, and here's where RBHT can come in. In  
24 addition to the steam cooling test helping us select  
25 a rod bundle heat transfer correlation --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER KRESS: Now, is your rod bundle  
2 geometry captured in your Nusselt number by the  
3 equivalent diameter that goes in there?

4                   MR. KELLY: No.

5                   MEMBER KRESS: No? That doesn't do it.

6                   MR. KELLY: If you look in the literature,  
7 there's a lot of correlations. They don't necessarily  
8 agree with each other, but there tends to be a 20 to  
9 30 percent enhancement of the convective heat transfer  
10 just by the fact that it's a rod bundle. Of course,  
11 the grids --

12                  DR. BANERJEE: More so with Reynolds  
13 numbers.

14                  MR. KELLY: More so, yes. The steam  
15 cooling test will help us select that correlation,  
16 because it's going to be turbulence down to the  
17 transition region. You're going to have to worry  
18 about mixed convection effects as well. But what's  
19 really of interest are the droplet injection tests.  
20 So in steam cooling, there will be 16 tests, two  
21 pressures and eight different Reynolds numbers. For  
22 the droplet injection, 48. We'll repeat those  
23 pressures and Reynolds numbers but then come in with  
24 droplet flow rates at three different ratios of the  
25 liquid flow rate to the vapor flow rate, because if

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you look at like, say, gas particle heat transfer  
2 tests, it's the mass loading ratio that's important.  
3 So that's what we're going to do.

4           Unfortunately, this has all slipped  
5 further and further out in time. What we'll get, you  
6 know, the data that will be available from these tests  
7 is you'll get the rod heat flux and temperature, the  
8 liquid and vapor flow rates. These are steady state  
9 tests, you can do mass energy balances and get a good  
10 estimate or at least a decent estimate of what your  
11 local fluid conditions are. That's very hard to do in  
12 a reflood test. We'll also know the superheated vapor  
13 temperature and the droplet diameter. It turns out,  
14 the drop diameter doesn't change a whole lot. These  
15 drops move relatively fast. Their velocity is on the  
16 order of one or two meters a second, so they get  
17 through the bundle very quickly. So unless they hit  
18 a grid and are shattered, they just zip out. They're  
19 very important for controlling the superheat level of  
20 the vapor, but the actual drop diameter only changes  
21 a little bit. Only a fairly small fraction of it will  
22 evaporate.

23           And so when you have this, you can then do  
24 a direct evaluation of what this two-phase enhancement  
25 factor really is or would be. The wall heat flux

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 minus the radiation heat flux over your single-phase  
2 heat transfer coefficient and the temperature  
3 difference you measure minus one. And the only  
4 assumption is what this radiated heat transfer  
5 component is. And at the moment, we'll be using  
6 something like a model do to Sun-Gonzales-Tien that's  
7 been around for, say, 30 years now and pretty much, in  
8 one form or another, shows up in almost every code.  
9 How good it is, I don't know, but it's very hard to  
10 measure what the radiated component to droplet mist  
11 is.

12 MEMBER KRESS: If you miss it, the value  
13 you come up with your two-phase enhancement will  
14 compensate.

15 MR. KELLY: Yes. From the data I've  
16 looked at, there is so much spread in this, and I've  
17 looked at like six different theories, and it's very,  
18 very -- or six different type models. It's very  
19 difficult to come up with one that minimizes the  
20 uncertainty in here, and so that's one of the reasons  
21 I want to have these tests, because for --

22 DR. BANERJEE: It could certainly be a  
23 function of the volume fraction of the drops, because  
24 what you've got is a flow with distributed heat sinks  
25 in it. So the temperature profile is not turbulent,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it's below, it's been sunk down by these. And that's  
2 why you're getting the enhanced heat transfer in some  
3 way, you're getting a temperature profile near the  
4 wall.

5 MR. KELLY: Exactly, especially near the  
6 laminar end and when the liquid loading isn't too  
7 high.

8 DR. BANERJEE: Yes.

9 MR. KELLY: And if you write the equations  
10 for this laminar flow, say you're going to do a  
11 numerical solution, when you non-dimensionalize the  
12 equations, two groups falls out. One of them I call  
13 a heat sink factor, and it's a ratio of -- well, it's  
14 basically the liquid volume fraction, one minus alpha,  
15 times the vapor-to-drop Nusselt number, divided by the  
16 Nusselt number of a wall-to-vapor. So it's kind of a  
17 ratio of how much heat can go to the drops versus how  
18 much heat goes to the vapor.

19 The other one is a superheat factor, and  
20 it's basically the vapor-specific heat times the vapor  
21 superheat, divided by the latent heat. And those  
22 become -- so those are your non-dimensional number  
23 things when you're doing this laminar flow solution.  
24 So I've tried to use those as a correlating factor.  
25 It works very well for some data, but when you go to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 very heavily-laden, you know, where the mass loading  
2 factors are ten or 100 or 1,000, and you get up to  
3 those in some of these regimes, then it doesn't seem  
4 to correlate at all.

5 DR. BANERJEE: But then you've got other  
6 factors. You've got probably turbulent enhancement  
7 and other things happening.

8 MR. KELLY: And that's what I'm going to  
9 try to use there, and there you go to something like  
10 what a Theophanos and Sullivan paper --

11 DR. BANERJEE: That is bubbly flow.

12 MR. KELLY: But they turned it around and  
13 the equation said you could do it for dispersement.  
14 But you can do something like that.

15 DR. BANERJEE: Right.

16 MR. KELLY: So it's basically a ratio of  
17 a drag coefficient in interfacial area to the wall  
18 friction factor.

19 DR. BANERJEE: Right.

20 MEMBER KRESS: For these drops, the  
21 convective Nusselt number, it's probably just the --

22 MR. KELLY: The conduction?

23 MEMBER KRESS: -- the conduction in a  
24 solid sphere. We don't have any -- they're so small  
25 we don't have any enhancement over that, right?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. KELLY: Well, we're talking about not  
2 inside the drop, we're talking about between the vapor  
3 and the drop. And so, quite often, it is close to a  
4 conduction limit. If you look at the formulas, the  
5 traditional one is Lee and Ryley, but there are more  
6 modern versions.

7 MEMBER KRESS: Yes. I was ignoring the  
8 inside of the drop, I was still talking about vapor to  
9 the drop.

10 MR. KELLY: Yes. They all say the Nusselt  
11 number is something like two plus a square root -- a  
12 constant times the square root of the Reynolds number  
13 times the Prandtl number. And, quite often, the value  
14 is between two and ten.

15 MEMBER KRESS: Okay. So it's not just  
16 two.

17 MR. KELLY: It's seldom more than ten, but  
18 it's not just two. It depends on the flow condition.

19 DR. BANERJEE: It depends on the size of  
20 the drop. I mean if it's too big, then you get  
21 internal circulations.

22 MEMBER KRESS: Yes. I'm assuming for this  
23 size drop that's not a big factor, though.

24 MR. KELLY: The drops will become  
25 distorted, they won't stay spherical.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: They'll oscillate a little  
2 bit.

3 MEMBER KRESS: Well, it could be higher  
4 then.

5 DR. BANERJEE: You can get an analytical  
6 solution to this problem as a bounding calculation by  
7 just taking a heat sink in your equations and  
8 integrating them, and that will at least show you an  
9 upper bound.

10 MR. KELLY: There is an analytical  
11 solution out in the literature. There was one done by  
12 Jens Andersen, and there was an older one before that  
13 but I can't remember the author's name. But Yao at,  
14 I think, the University of Pittsburgh has done a lot  
15 of work on this.

16 DR. BANERJEE: Yes, maybe.

17 MR. KELLY: And I did a numerical solution  
18 for laminar flow on this, and that's where I came up  
19 with the heat sink factor and the superheat factor.  
20 And those results, actually for certain conditions,  
21 give you the kind of numbers that you see in the data.

22 MEMBER KRESS: Well, if this two-phase  
23 enhancement factor turns out to be a relatively strong  
24 function of the liquid vapor mass loading ratios,  
25 which you expect it to be, I worry about only having

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 three values for those.

2 MR. KELLY: Well, I would like to have  
3 more, but if we can only operate the facility for half  
4 a year, and they're actually saying it's going to take  
5 them two years to do this series of tests --

6 MEMBER KRESS: Yes. You take what you can  
7 get, I guess.

8 MR. KELLY: Yes.

9 DR. BANERJEE: Also, if it turns out to be  
10 really important, you can probably go back and do  
11 that.

12 MEMBER KRESS: Probably go back and do  
13 that, yes.

14 DR. BANERJEE: If it is.

15 MR. KELLY: So Steve and I are both very  
16 interested in this program and trying to follow it  
17 along and also to encourage it and direct it to what  
18 we think is important.

19 MEMBER KRESS: You're going to choose  
20 these three liquid vapor mass loading ratios to span  
21 what you expect in the real case, I guess, so that you  
22 can extrapolate in between them.

23 MR. KELLY: At least up to the point for  
24 the dispersed flow regime.

25 MEMBER KRESS: Yes, okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MR. KELLY: Now, one of the regimes we're  
2 going to talk about later, if we get there, is what I  
3 call inverted slug, and that's why I'm thinking of  
4 more as like a fluidized bed where the volume  
5 fractions are on the order of 50 to 90 percent, and  
6 you have these liquid drops and fragments going every  
7 which way, and the heat transfer can be pretty  
8 significantly enhanced. And the loading ratios there  
9 get up to about 1,000. And if we were to spray that  
10 kind of liquid mass flux in these little droplet  
11 injectors, there's no way we wouldn't quench the  
12 bundle. We wouldn't be able to do the steady state  
13 dispersed flow test. So we'll push it as far as we  
14 can, but we'll at least make sure we end up with a  
15 good model for disperse flow. And this is how we  
16 would use that data that we would get from the  
17 facility to generate the model we need. Okay.

18           Now we're going to back up, because I  
19 skipped some slides, and go back to the background and  
20 talk about drop diameter, because it's primary role is  
21 its effect on vapor superheat, and that's really  
22 crucial because that's going to be your sink  
23 temperature. But it also affects the grid space-to-  
24 drop breakup. This two-phase conductive enhancement  
25 factor is going to be a function of a drop diameter.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 And also water drop radiation heat transfer is a  
2 function of the drop volume fraction and diameter. So  
3 it affects all of these.

4 We don't even know what mechanisms forms  
5 these drops. If you look in the literature, there's  
6 a lot of speculations. You know, is it aerodynamic  
7 breakup of these liquid slugs? Well, maybe and  
8 probably at least some of the -- maybe the majority of  
9 the drops come from that. You'll see papers where  
10 they waive entrainment from that inverted annular  
11 core. Now, if you're going to develop waves on it,  
12 you can strip drops off of it. Or if you go to a low  
13 flooding rate, what you have is actually an annular  
14 film down below the quench front. You can develop  
15 waves in that film and entrain drops actually before  
16 you get to the quench front. But this wouldn't too  
17 often happen just because of the heat flux levels  
18 below the quench front.

19 MEMBER KRESS: Aren't you producing vapor  
20 at the quench front? And when the vapor breaks to a  
21 liquid interface, doesn't it carry liquid with it?

22 DR. BANERJEE: That's a splattering.

23 MEMBER KRESS: Is that what you mean by  
24 splattering?

25 MR. KELLY: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: Oh, okay.

2 MR. KELLY: It depends on your liquid flow  
3 rate and your liquid subcooling. If you're at high  
4 flow rates and high subcooling, yes, you generate  
5 vapor at the quench front, but you immediately  
6 condense a lot of it. So you get your onset of film  
7 boiling there, but the eventual -- and that's how you  
8 have the liquid inverted annular core downstream of  
9 the quench front is because you've condensed the  
10 majority of that vapor.

11 You can also generate droplets by wall-to-  
12 drop interactions. As we talked about, if you slam a  
13 drop up against this hot wall, it's going to flatten  
14 out, you're going to be generating under the drop,  
15 instability is -- as you start to push the drop away,  
16 you'll have instabilities on that vapor surface, and  
17 the drops will tend to break up with some critical  
18 wavelength that will be the size of the drop. And I  
19 don't remember what the formula is, but that's there.

20 You also have drops colliding with other  
21 drops, with the grids, of course, and sputtering is  
22 what happens if, say, for example, you have an actual  
23 annular flow, we're talking about low flooding rate  
24 cases, so below the quench front it's two-phase and  
25 you actually have an annular flow regime near the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 quench front that then this film trips over the quench  
2 front itself where you go from basically a cool wall  
3 to red hot and blows the liquid film off, and the name  
4 for that is sputtering.

5 But if you look at the current database,  
6 there is some data for drop diameters in reflood from  
7 both experiments in tubes and rod bundles. But,  
8 typically, the local conditions are not reported. All  
9 you get are the droplet diameters. And so what  
10 happens, and I guess now I can't use "ad hoc" anymore,  
11 I'm going to have to go check that definition. What  
12 you'll see in a lot of codes is they'll take a  
13 critical value for the Weber number based upon the  
14 local conditions, not where the drop was actually  
15 created, and they'll tune that critical Weber number  
16 so they'll match the PCT for a particular experiment.  
17 And you'll end up seeing things like Weber numbers of  
18 one or two years.

19 MEMBER KRESS: That seems backwards to me.

20 MR. KELLY: But part of it's a limitation  
21 that if you don't have some kind of interfacial  
22 transport mechanism for the droplets, you have to do  
23 it based upon local conditions, because the reality  
24 isn't steady state. Normally, you know, you can  
25 analytically you can say, "Well, I know where it was,"

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 but that doesn't happen in the codes. And this is not  
2 an idea, this is what gets done, and that's what we  
3 want to improve on.

4 This gives you an example of what's out  
5 there now. You know, I searched, I looked for droplet  
6 data, and there's not a whole lot. I've got two set  
7 -- ah, my legend went away here. That happens  
8 sometimes when you cut and paste things in.

9 MEMBER KRESS: We have it on ours.

10 MR. KELLY: So the black triangles are  
11 from FLECHT SEASET, and these were done optically,  
12 high-speed movie, looking through a window, then you  
13 project it on graph paper and your graduate student  
14 draws circles around the drops and gets out. So in  
15 this case, each one of these triangles represents an  
16 individual reflood test. You notice most of them are  
17 at 40 psi, one is at 20.

18 Typically, the number of drops measured  
19 range between about 50 and 300. So these populations  
20 that -- each of these represents a population, and  
21 what this is is the Sauter mean diameter in  
22 millimeters, but they're fairly small populations, so  
23 you wouldn't really trust the shape of it and even the  
24 value. It give you a pretty good idea. But, again,  
25 we don't know what the flow conditions were. We know

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 the pressure, but we don't know what the vapor  
2 velocity and we don't really know where the drops came  
3 from.

4 MEMBER KRESS: But those size droplets  
5 are, for example, too large to get Kelvin Helmholtz  
6 stripping off -- you don't get droplets that big, do  
7 you?

8 MR. KELLY: No, and you don't get droplets  
9 this big with a Weber number of 12.

10 MEMBER KRESS: With a Weber number of 12,  
11 you get a really small --

12 MR. KELLY: Well, no, actually, let me  
13 back up. You don't get -- these drops are too small  
14 for the Kelvin Helmholtz thing if you use the droplet  
15 terminal velocity. That's why you need to go to a  
16 Weber number of like one or two to get these.

17 DR. MOODY: Larry Hochreiter showed  
18 droplet data. Did he make predictions of those  
19 droplet diameters that he measured?

20 MR. KELLY: No.

21 DR. MOODY: He just measured them and  
22 there they are for --

23 MR. KELLY: Yes. And I'm going to talk  
24 about that in just a minute, about how we're going to  
25 use that data. I'll finish with this. These orange

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 diamonds are from the ACHILLES test which were done in  
2 Great Britain, and in this case they did two reflow  
3 tests. This is the only -- they have more data, but  
4 this is the only that I had access to. So there are  
5 two different tests, and what you're looking at is  
6 each diamond is a value measured for one sub-channel.  
7 And I don't remember how these were measured.

8           And then we have some tube test data, some  
9 tests done at the University of Berkeley, I think it  
10 was an Inconel tube, I don't remember. And in tests  
11 done in Britain by -- I think it was Britain -- by  
12 Ardron and Hall, and these are quenching of a quartz  
13 tube with a little wire wrapped around it. And so  
14 here -- in both cases, they were using optical  
15 techniques. Each one of these represents a point in  
16 a reflow test, and these are sometimes as many as  
17 1,000 drops in each one of these. Again, this is  
18 Sauter mean diameter. And so these were taken at a  
19 couple axial elevations in the tube, so at different  
20 distances from the quench front. Whereas these were  
21 all at the exit of the tube. So we have a very large  
22 difference between the two, and one of the questions  
23 is why, how can you measure droplets that are --

24           DR. BANERJEE: It's hard to get a nine  
25 millimeter drop.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: Yes.

2 MR. KELLY: Well, we talked about Kelvin  
3 Helmholtz. Let's throw Rayleigh-Taylor into this.  
4 These are about as large as a drop can be and remain  
5 stable.

6 DR. BANERJEE: They must be these big  
7 chunks. I think Keith Ardron must have been calling  
8 those drops, he was English. Anything which has sort  
9 of a circular shape is okay.

10 MR. KELLY: Well, but --

11 DR. BANERJEE: They're big chunks of  
12 liquid, I think.

13 MR. KELLY: But, you know, that's what  
14 they were measuring.

15 DR. BANERJEE: Yes.

16 MR. KELLY: That's what was there. And  
17 this is actually Sauter mean, so they saw things even  
18 bigger, but you can't get much bigger than this. You  
19 just can't. You know, a Rayleigh-Taylor limit is  
20 about four times over -- which is about ten  
21 millimeters at these conditions, so you're not going  
22 to get much bigger than that.

23 So at any rate, if you were to ask me  
24 what's a droplet correlation --

25 DR. BANERJEE: One to two millimeters.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER KRESS: Yes. That's what I was  
2 thinking.

3                   MR. KELLY: Well, except what we're  
4 measuring in RBHT, at least the couple of tests I  
5 looked at, are about half a millimeter. And that's  
6 one of the things we're going to have to look at is  
7 what's the difference here.

8                   DR. BANERJEE: But maybe there's a spacer  
9 effect.

10                  MR. KELLY: These have spacers too. Egg  
11 crate, not mixing vane, but definitely there's a  
12 spacer effect. But part of it may be the flow  
13 conditions being different, you know, vapor velocities  
14 being higher in these tests. Part of it may be the  
15 measurement technique. Here we're actually using an  
16 automated software to measure the drops. And the  
17 laser camera, the digital camera here has a very high  
18 resolution, better than what was available back in the  
19 1970s. So if you look in the test report for these,  
20 they say that they -- I don't remember the number, but  
21 there's a certain diameter drop that they can't see.  
22 Anything below that, they can't see. Whereas here we  
23 can see some of those very small drops, and, of  
24 course, if what you're doing is Sauter mean, you know,  
25 ratio of the volume to the area for the population, if

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you're not counting small drops, it's very easy for  
2 you to overestimate the droplet size.

3 DR. MOODY: I guess in every case the  
4 droplets are formed from a bigger body of liquid,  
5 whether they're ripped off, stripped off, coaxed off.

6 MR. KELLY: Somehow. And probably several  
7 different mechanisms build a population, and we simply  
8 don't know.

9 DR. MOODY: Isn't that amazing, here we  
10 are 100 years later and we still don't know.

11 MR. KELLY: You know, there's thousands of  
12 papers out there on inverted annular or dispersed flow  
13 film boiling, and when you have to sit down and put  
14 their model for a code, you're scratching your head  
15 sometimes, and it's surprising. There's a lot of  
16 inconsistency between the papers that are there.

17 Okay. I talked about this. Okay. This  
18 was how are we going to get the interfacial heat  
19 transfer between the vapor and the drop. And the  
20 point is you can't really. I mean we're not measuring  
21 the rate at which droplets are evaporating, but we can  
22 get an indication of it by looking at the axial  
23 profile of the vapor temperature. So we can use the  
24 models that we get -- excuse me, we can use the data  
25 that we're going to get, the superheated vapor

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 temperatures, the drop diameter and the vapor-  
2 entrained liquid flow rates.

3 MEMBER KRESS: Does the change in Sauter  
4 mean diameter give you any information on that?

5 MR. KELLY: It's --

6 DR. BANERJEE: Too small.

7 MEMBER KRESS: Too small?

8 MR. KELLY: The uncertainty in what you're  
9 measuring is much larger.

10 DR. BANERJEE: But the superheated vapor  
11 temperature is a function of the heat transfer from  
12 the wall and a whole lot of stuff going into that.

13 MR. KELLY: Right. But it can give you --  
14 you can at least use it to help you select which  
15 models, and then once you have a set of models in and  
16 are doing a comparison, you can then validate their  
17 integral effect.

18 MEMBER KRESS: I would be tempted there to  
19 use existing correlations for single drops and swarms.  
20 I think some of those exist, don't they?

21 MR. KELLY: Yes.

22 MEMBER KRESS: I think I'd be tempted to  
23 say, "All right, we'll just put those in for that."

24 MR. KELLY: Yes. Whenever you think you  
25 know something, use it. That's what I'm doing. And

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 so, for example, for the vapor-to-drop interfacial  
2 heat transfer, there are experiments where they either  
3 put a little sphere and coat it with a liquid film and  
4 put it in a wind tunnel and --

5 MEMBER KRESS: Yes. They've done a lot of  
6 that.

7 MR. KELLY: -- come up with those  
8 correlations, so that's what I'll use. The only catch  
9 is the multi-particle effect.

10 MEMBER KRESS: Now, it may be that your  
11 loading is so small that these act like single  
12 particles, but I don't know that.

13 MR. KELLY: Well, not quite. We're not at  
14 the dense solution where you have to worry about  
15 clusters like in fuel ignitors. So we're not having  
16 to worry about penetrating clouds of drops. But on  
17 the other hand, we have enough drops around that the  
18 rate's going to be a little bit more than the single  
19 particle. And that's where you might look like and  
20 what I've been doing is looking at the correlations  
21 for fluidized beds for the vapor-to-particle heat  
22 transfer in a fluidized bed.

23 DR. BANERJEE: Are you talking of the heat  
24 transfer coefficient on the vapor side or on the  
25 liquid side?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. KELLY: Vapor side.

2 MEMBER KRESS: Yes. I think --

3 MR. KELLY: Between the vapor and the  
4 particle.

5 MEMBER KRESS: Yes. I think you would  
6 generally neglect the liquid side for this size  
7 particle.

8 MR. KELLY: The drops are in saturation  
9 and it's high enough because the drops are small.

10 DR. BANERJEE: But, usually, the liquid  
11 side heat transfer can vary, of course, by a factor of  
12 two or three.

13 MR. KELLY: Yes. Here it's so much larger  
14 than the vapor side that it's really a no "never  
15 mind," and if you just do a conduction on the drop and  
16 have a fairly constant number, you're close enough,  
17 because it doesn't limit the rate process.

18 DR. BANERJEE: Well, the flow around the  
19 drop is turbulent, correct, by then?

20 MR. KELLY: But it's fairly -- if you look  
21 at the Nusselt number, you get a Nusselt number of  
22 about ten or less on the vapor side.

23 DR. BANERJEE: You see, if you had a very  
24 high conduction heat transfer inside the liquid  
25 compared to the convective heat transfer outside, you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 won't get any vaporization.

2 MR. KELLY: But these drops are saturated.

3 DR. BANERJEE: They are saturated.

4 MR. KELLY: By this point, you know, the  
5 liquid is broken up and everything, and now you've got  
6 little small drops. They're basically saturated.

7 DR. BANERJEE: If that's the case, then  
8 all that heat transfer will just go to vaporization.

9 MR. KELLY: Right.

10 DR. BANERJEE: And you don't care what  
11 happens.

12 MR. KELLY: Yes. We don't care what  
13 happens on the liquid side. I should have said that  
14 at the outset.

15 Now we're going to talk about drop  
16 diameter again. Sorry for the aside in interfacial  
17 heat transfer. What I said in the existing database,  
18 as you see some drop diameters, is there's a large  
19 disparity but you don't have a local fluid conditions,  
20 so you can't go and make any judgments. Well, this  
21 one set of data by Ardron & Hall they do report at  
22 least the exit conditions. So at the end of their  
23 tube, they give you the steam velocity. And so if I  
24 assume that steam mass flux were constant all the way  
25 back to where they made their measurements, I don't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have enough data to make any other assumption, but if  
2 I assume that, I can do this plot, which is a non-  
3 dimensional drop diameter, it's a drop diameter  
4 divided by the cost number, so that's the square root  
5 of the surface tension over  $G \Delta \rho$ , versus a  
6 modified Weber number.

7 It's modified in two ways. It uses the  
8 vapor superficial velocity rather than the relative  
9 velocity, so I don't know the relative velocity, I  
10 only know the vapor superficial. And, actually, you  
11 see that in a lot of annular mist things for droplet  
12 diameter. The other way it's modified is instead of  
13 using the droplet diameter, it uses the LaPlauce  
14 number. So that's what meant by modified Weber number  
15 here.

16 And because you're plotting it that way,  
17 and I picked this up with some annular mist stuff, you  
18 can draw these dashed lines that are straight, and  
19 what you'll see in your handout is that it says Weber  
20 number equals 12, Weber number equals four. There are  
21 two sets of data here. What I'd like for you to look  
22 at first are the diamonds. Those are the drop  
23 diameters that they measured for locations that were  
24 more than I believe it was 0.7 meters away from the  
25 quench front -- or maybe it was one meter. It's in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 your handout. So what you're basically seeing for  
2 these Sauter mean diameters is something that you  
3 would get for the Weber number criterion based on  
4 vapor superficial velocity of about four. Well, you  
5 would tend to believe the number of 12, but 12 would  
6 give you the maximum size drop. In the Sauter mean,  
7 because there's a population, a distribution, it's  
8 typically three to four times smaller than the  
9 maximum, which brings you right into this value.

10 Now, if you look at the open orange  
11 triangles, those were taken at a distance of a tenth  
12 of a meter, only ten centimeters, away from the quench  
13 front in these tests. So these drops haven't had much  
14 time to accelerate, haven't even had much time to  
15 break up, but they tend to be bounded by that Weber  
16 number value of 12 and then move down towards this  
17 limit. So this is an indication of something you  
18 might be able to use as a correlating factor, and  
19 that's one of the things I'll be looking at --

20 MEMBER KRESS: Droplet size versus  
21 position along the tube, without consideration of  
22 evaporation?

23 MR. KELLY: Well, actually, I didn't mean  
24 that. What I meant as a correlating factor was the  
25 vapor superficial velocity or the vapor momentum flux.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Okay?

2 MEMBER KRESS: Would you use the four or  
3 the 12 or the --

4 MR. KELLY: Well, for the maximum, you  
5 would use a 12, for the Sauter mean, a value more like  
6 the four. And this is just first order model here.

7 DR. BANERJEE: Anyway, the vapor velocity  
8 is very close to superficial, right? There aren't  
9 that many problems.

10 MR. KELLY: Right. And also -- well, yes.  
11 But I'm ignoring the relative velocity here.

12 MEMBER KRESS: The relative velocity is  
13 pretty low.

14 MR. KELLY: Yes. There's a difference  
15 between the vapor superficial and the relative, and  
16 what I'll be saying in this model, if I were to use  
17 this, is that where the drops are actually created the  
18 drops are initially standing still. They haven't  
19 accelerated to the terminal velocity up here. So  
20 their velocity is basically zero so that that vapor  
21 superficial is indicative of the relative, the  
22 relative at the top of this, say, fluidized bed before  
23 it becomes fully dispersed.

24 MEMBER KRESS: Even if it wasn't that way,  
25 you almost have an empirical factor.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. KELLY: Oh, it's going to be  
2 empirical.

3 MEMBER KRESS: Yes. So it wouldn't matter  
4 if that was the right interpretation or not would be  
5 a good way to look at it.

6 DR. BANERJEE: It's more or less in line  
7 with what you expect.

8 MEMBER KRESS: Yes.

9 MR. KELLY: Yes. And the point of showing  
10 the 12 and this is to show where some of those very  
11 large drops came from. These are drops close to the  
12 quench front that haven't had the chance to really  
13 accelerate and break up.

14 MEMBER KRESS: And they're not going to do  
15 much, I don't think, are they?

16 MR. KELLY: They're going to stay down.

17 MEMBER KRESS: Yes. So we don't know  
18 really a whole lot about them.

19 MR. KELLY: Yes. Eventually, they'll  
20 break up and then become important.

21 MEMBER KRESS: Yes.

22 DR. BANERJEE: It's a mess down there.

23 MR. KELLY: Yes. And one that I'm not  
24 going to model the details of for a long, long time.

25 MEMBER KRESS: But it looks like a Weber

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 number might be a good shot at getting --

2 MR. KELLY: That's what I'm going to try.  
3 And I got this from the annular mist literature, and  
4 I'm just adapting it for a different situation. And  
5 then I'm going to try to actually get other data to  
6 check this, and I'll explain that when I come back and  
7 give you the models, okay?

8 This is what Professor Hochreiter showed  
9 you from the RBHT --

10 MEMBER KRESS: I think we're going to lose  
11 one of our members here very shortly.

12 DR. MOODY: Your audience is shrinking,  
13 it's nothing personal.

14 MR. KELLY: I'll tell you what: Before I  
15 lose all my audience, let me go to my last slide.  
16 It's not in your handout.

17 MR. BOEHNERT: Powerpoint poisoning.

18 (Dilbert Cartoon.)

19 (Laughter.)

20 MR. KELLY: Since I'm noted for standing  
21 up here for hours on end and boring my audience with  
22 hundreds of viewgraphs, I just couldn't resist. This  
23 is what I was trying to desperately get to just before  
24 Professor Wallis left, because I thought he would  
25 enjoy this.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MR. ROSENTHAL: Let me be serious for just  
2 a second, and that is we read the consultant's report,  
3 and to some extent I think we have to agree that the  
4 experimental program and the analytic program wasn't  
5 tucked together as tightly as everybody would have  
6 liked, just what was funded when and who was on staff  
7 when and what not. I mean even we recognize that we  
8 could have done better, but I think that we're playing  
9 catch up but we're getting better. So I'm sure that  
10 you have to -- or would be writing additional  
11 consultant's reports, and if in those reports you  
12 included your views, having read this presentation,  
13 I'd appreciate it.

14           MEMBER KRESS: I think that may be all you  
15 get out of this meeting is a consultant's report,  
16 unless Graham wants to write a summary.

17           MR. ROSENTHAL: I'm not asking for  
18 anything more, but what I'm saying is that the prior  
19 reports were based on the Hochreiter were fair but  
20 negative. So if you have whatever -- if you change  
21 your views or have additional views, we'd appreciate  
22 seeing what they are.

23           MEMBER KRESS: Well, the other issue -- I  
24 share your concern about losing support for the rod  
25 bundle heat transfer test, and I don't know how to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 convey that concern at the moment, because I don't  
2 think we intended to have a letter.

3 MR. BOEHNERT: Well, you're writing a  
4 research report. Maybe you want to think about that,  
5 getting some --

6 MEMBER KRESS: But the research is what  
7 were supposed to focus on advance reactors, but I  
8 think this is probably --

9 MR. BOEHNERT: I haven't seen it, so I  
10 don't know.

11 MEMBER KRESS: -- appropriate.

12 MR. ROSENTHAL: Or even in your lesser  
13 reports. If you think that --

14 MR. BOEHNERT: Well, but the research  
15 report would be good because that's going to elevate  
16 this right to the top.

17 MEMBER KRESS: Okay. That's a good point.

18 MR. BOEHNERT: Yes.

19 MR. KELLY: And from my perspective, even  
20 in a consultant report, you know, you may even see a  
21 sentence that says, "This is a pretty interesting test  
22 series. We think we're going to get some valuable  
23 data." But then there might be 20 different ways in  
24 which it could be better, and they may be very true,  
25 and maybe we can make the program better, but when

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 couple levels of Management above sees this, they see  
2 20 and one, and they come away with, "Well, this -- my  
3 staff doesn't know what we're doing, our experimenters  
4 don't know what we're doing, let's just kill the  
5 program." So if there's a cover letter that goes with  
6 the consultant reports, I mean if you really feel this  
7 is a worthwhile program, just make it very clear in  
8 the front, and then tell us how to do it better. We  
9 don't mind that, because --

10 MR. BOEHNERT: Let me give some input  
11 here, because you have to keep in mind what are the  
12 intents of the reports the consultants provide the  
13 Subcommittee. It's basically for internal use, and in  
14 fact we kind of grapple with, gee, should we give you  
15 guys these reports? And I tend to say you ought to  
16 see this stuff because I think it's useful, but I  
17 always have to get the permission of the Chairman to  
18 do that. And he generally says, "Sure, go ahead." So  
19 that's why it's -- it's a different audience and  
20 that's why they tend to be maybe not as positive as  
21 you'd like, but it's basically for internal use.

22 MR. ROSENTHAL: I think that given the  
23 presentations that were made, I think that the reports  
24 that came in were fair. And we're all saying we need  
25 to do better. Having heard this presentation, if you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have additional comments x

2 DR. BANERJEE: Well, you have to know that  
3 that when we listen to the RBHT Program, this program  
4 which is going on in parallel wasn't presented.

5 MR. ROSENTHAL: Right.

6 DR. BANERJEE: And maybe the right thing  
7 would have been to make it one more day at that point  
8 and put those two together.

9 MR. ROSENTHAL: Fair enough.

10 DR. BANERJEE: That would have made a  
11 difference.

12 MR. ROSENTHAL: A little bit of a history,  
13 by the way, if we go back like six months to a year,  
14 we would come in and have these like summary  
15 presentations, you know, a one-day or two-day  
16 marathon. And Professor Wallis said it would be more  
17 useful if we came in instead of with these big  
18 overview presentations where you got into no detail on  
19 anything is if you can have more detailed ones on  
20 specific topics. So Steve brought Vijay Dhir,  
21 Hochreiter, et cetera, and I guess we're losing  
22 something in maybe we're being too fragmentary. So  
23 I'm just saying some combination.

24 DR. BANERJEE: Yes. In fact, if there was  
25 even an hour presentation by Joe or Steve or something

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to put this in some context, yes, that would have been  
2 different.

3 MR. ROSENTHAL: Fair enough. Fair enough.

4 DR. BANERJEE: The only thing that still  
5 bothers me, to some extent, and I think it's a crucial  
6 issue, is this maybe we need to see something of what  
7 Steve and Joe have done in terms of sensitivity of  
8 these temperatures to the sort of modeling assumptions  
9 you were saying that you had made. Because we are  
10 sort of getting conflicting information on this, and  
11 I can see how it's coming about, because there are  
12 people who want to get S-RELAP or whatever the next  
13 code applicable for their fuel reload analysis or  
14 whatever they're doing, and so they're going to  
15 present a case that nothing needs improvement in these  
16 codes, we can do everything with it, right? I mean  
17 even if you --

18 MR. ROSENTHAL: I think you're still  
19 bleeding from yesterday.

20 DR. BANERJEE: Yes. If you take that at  
21 face value, then there's no program needed of any sort  
22 whatsoever. We know that's not true. But there is  
23 something there which is sort of in the middle ground  
24 I think that they've been maintaining that a lot of  
25 the dispersed flow, heat transfer flow, the nuances

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and so on, don't matter. What we've got is good  
2 enough to give us PCT, which I disagree with  
3 personally, because I think the work should be done.  
4 But we need to have some evidence presented to us that  
5 we can make the case stronger, because I believe this  
6 is a good program too.

7 MR. ROSENTHAL: We've had a lot of  
8 discussion, by the way, and you've heard a little bit  
9 from Joe, a little bit from Steve about developing  
10 metric again. The one thing that I think we're all  
11 convinced of is that PCT should not be the only  
12 metric.

13 MR. ROSENTHAL: Right.

14 MR. BAJOREK: When we did the best  
15 estimate methodology for the Westinghouse model, that  
16 was our original attack was to, hey, if we can get the  
17 PCT correct, everything might be all right. And that  
18 was thrown out and rightfully so, because when we did  
19 take a look at what the code was doing, we did start  
20 to find compensating errors. You're getting the right  
21 reason but for the wrong -- you're getting the right  
22 answer but for the wrong reasons. Where that comes  
23 back to haunt you is in a full-scale PWR analysis  
24 where if you might be correct for a test, which runs  
25 either at steady state or over a short time scale, now

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you think you have an answer that's got a good bias,  
2 small uncertainty. But it becomes very important if  
3 you take that uncertainty and propagate it over time.  
4 So if you think your answer is good and you do it only  
5 on PCT, you may be missing the fact that your heat  
6 transfer coefficient may be off by ten, 20 percent.  
7 And when you propagate that in a code that goes for  
8 several hundred seconds, then you could be  
9 mispredicting your PCT by hundreds of degrees.

10 MR. ROSENTHAL: And along that line, we're  
11 trying to -- you know, this idea, you heard the  
12 expression, large-break LOCA center, and that is that  
13 if on probability you dismiss the double-ended  
14 guillotine break, I don't think that you'll ever  
15 dismiss breaks that depressurize the plant, you know  
16 like surge line. Then people will immediately take  
17 the margin that they've gained by that, you'll be up  
18 against new limits, and then you have to ask is your  
19 code capable of these other issues? So for all these  
20 --

21 DR. BANERJEE: Well, one of the points I  
22 made in my last report was that NRC, now I don't know  
23 which appropriate branch of NRC it should be, should  
24 develop more than just the PCT criteria for evaluating  
25 a code. Maybe it should have -- this is up to NRC to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 decide what is the most important factors, but say  
2 time to PCT could be important too or there could be  
3 a number of other things which I can think of, and I'm  
4 sure you can, which are sort of would give more  
5 credibility to these calculations, which have been  
6 presented by all the vendors and people like that in  
7 licensing their codes. And there should be a short  
8 list of four or five things that they have to get  
9 right, more or less, before we sign off on these  
10 things. Because PCT is -- you know, they adjust stuff  
11 and they finally get the PCT and they say, "Well,  
12 we've assessed 59 experiments now" or whatever the  
13 number is, "and we're fine."

14 MR. BAJOREK: If you'd like, I'll give you  
15 part of a presentation we made December last year, and  
16 we covered exactly some of those concerns where we  
17 said quantification of code performance it's  
18 conservative, you compare the PCT, and we basically  
19 said that's unacceptable. For reflow heat transfer,  
20 we would look at more of a list of parameters which  
21 would go from steam cooling heat transfer coefficient,  
22 dispersed flow heat transfer coefficient, inverted  
23 annular heat transfer coefficient. Minimum film  
24 boiling temperature has a very big effect in your  
25 blowdown cooling, a carryover fraction. We haven't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 said anything on that yet, but if you remember  
2 watching that movie from RBHT, we were still well  
3 above the minimum film boiling point, but we saw lots  
4 of water in this, very high carryover fractions. We  
5 need to get that correct and level swell to make sure  
6 that you aren't frothing up your quench front to a  
7 higher elevation than it should be.

8 So I can give you this, and that's when it  
9 comes to assessment and in our model development we're  
10 not going to use PCT except as a --

11 DR. BANERJEE: But somehow it has to get  
12 through to NRR, and they have to say, "Okay, these are  
13 five or six variables that we look at."

14 MEMBER KRESS: You've got to change the  
15 rule.

16 MR. BOEHNERT: You have to change the  
17 rule.

18 MEMBER KRESS: That might be a problem.  
19 I guess given the hour and the time, I want to thank  
20 you guys for a very interesting, productive meeting,  
21 and I think at this point I'll declare the meeting  
22 adjourned.

23 (Whereupon, at 1:20 p.m., the ACRS meeting  
24 was concluded.)

25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701