

# Official Transcript of Proceedings

## NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards  
Subcommittee on Fire Protection

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Wednesday, October 27, 2004

Work Order No.: NRC-075

Pages 1-195

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

SUBCOMMITTEE ON FIRE PROTECTION

+ + + + +

MEETING

+ + + + +

WEDNESDAY,

OCTOBER 27, 2004

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The subcommittee met at the Nuclear  
Regulatory Commission, Two White Flint North,  
Room T2B3, 11545 Rockville Pike, at 1:30 p.m.,  
Stephen L. Rosen, Chairman, presiding.

COMMITTEE MEMBERS:

STEPHEN L. ROSEN, Chairman

JOHN D. SIEBER, Member

GRAHAM B. WALLIS, Member

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 ACRS STAFF PRESENT:

2 MARVIN D. SYKES

3

4 ALSO PRESENT:

5 SUZANNE BLACK, NRR

6 DAVID DIEC, NRR

7 FRED EMERSON, Nuclear Energy Institute

8 JEFF ERTMAN, Progress Energy

9 RAY GALLUCCI, NRR

10 PAUL GUNTER, Nuclear Information and

11 Resource Service

12 DENNIS HENNEKE, Duke Power

13 LESLIE KERR, NRR

14 ALEX R. KLEIN, NRR

15 ALAN KOLACZKOWSKI, SAIC

16 DAVID LOCHBAUM, Union of Concerned Scientists

17 ERASMIA LOIS, RES

18 PHILLIP QUALLS, NRR

19 BRIAN THOMAS, NRR

20 SUNIL WEERAKKODY, NRR

21

22

23

24

25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

I-N-D-E-X

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

| <u>AGENDA ITEM</u>                          | <u>PAGE</u> |
|---|-------------|
| Opening Remarks . . . . .                   | 4           |
| Opening Statement . . . . .                 | 6           |
| Background Information Related to . . . . . | 9           |
| Rulemaking                                  |             |
| Elements Important to Rule . . . . .        | 23          |
| Acceptance Criteria . . . . .               | 31          |
| Key Issues . . . . .                        | 41          |
| Regulatory Analysis . . . . .               | 101         |
| Stakeholder Comments . . . . .              | 184         |
| Member Comments/Adjourn . . . . .           | 195         |

P-R-O-C-E-E-D-I-N-G-S

(1:28 p.m.)

1  
2  
3 CHAIRMAN ROSEN: The meeting will now come  
4 to order. This is a meeting of the Fire Protection  
5 Subcommittee. I'm Stephen Rosen, Chairman of the Fire  
6 Protection Subcommittee.

7 ACRS members in attendance at this meeting  
8 are Jack Sieber and Graham Wallis. Marvin Sykes of  
9 the ACRS staff is the Designated Federal Official for  
10 this meeting.

11 The purpose of this meeting is to discuss  
12 the current rulemaking activities which would allow  
13 for the use of certain manual operator actions to  
14 satisfy existing requirements of 10 CFR 50,  
15 Appendix R. The staff is currently seeking approval  
16 from the Commission to release this draft proposed  
17 rule to the public for review and comment.

18 The subcommittee will gather information,  
19 analyze relevant issues and facts, and formulate  
20 proposed positions and actions as appropriate, for  
21 deliberation by the full committee. The rules for  
22 participation in today's meeting have been announced  
23 as part of the notice of this meeting previously  
24 published in the Federal Register on October 19, 2004.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   We have received written comments from the  
2 Union of Concerned Scientists, the Nuclear Information  
3 and Resources Service, and the Nuclear Energy  
4 Institute, and requests for time on our meeting agenda  
5 to make oral statements regarding today's meeting.

6                   The agenda shows 10 minutes for  
7 stakeholder comments towards the end of the meeting.  
8 Because of the interests of the ACRS subcommittee and  
9 the full committee on stakeholder comments on this  
10 issue, we are going to expand the available time for  
11 those stakeholder comments showing 10 minutes to 20  
12 minutes per stakeholder, if they choose to use that  
13 much time, and to do that I am informing the following  
14 members of the -- on the agenda that their times have  
15 been subsequently shortened.

16                   Mr. Diec on Roman numeral three,  
17 Background Information, we'd like you to see if you  
18 can do that in 15 minutes. David, is that okay?

19                   MR. DIEC: Yes.

20                   CHAIRMAN ROSEN: Okay. And Elements  
21 Important to the Rule, Mr. Klein, perhaps 10 minutes  
22 for you?

23                   MR. KLEIN: Yes.

24                   CHAIRMAN ROSEN: We know what that is.  
25 Brief refresher, please.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   We're going to take our break down to 10  
2 minutes, and we're going to -- in the principle of  
3 giving at home as well. And Regulatory Analysis, Mr.  
4 Kerr, we'd like 10 minutes off that. That's on the  
5 Cost and Savings perhaps? I think that's Ms. Kerr.  
6 Yes, sorry. If you can do that in 20 minutes, we'd  
7 appreciate it.

8                   The Proposed Rule Text, David, how about  
9 doing that in 10 minutes instead of 15?

10                  MR. DIEC: That would be nice, if we can  
11 do it in five minutes.

12                  (Laughter.)

13                  CHAIRMAN ROSEN: Okay. Well, then you can  
14 think about using your five minutes extra.

15                  MEMBER WALLIS: You've got it wrong, Mr.  
16 Chairman. What you're going to do is you're going to  
17 allow us to ask questions for the same amount of time,  
18 and they have to cut those times by half.

19                  CHAIRMAN ROSEN: Well, right now, the  
20 current plan is as I stated. We really want to hear  
21 from stakeholders, and that's why I'm trying to do  
22 that, ask for all of your cooperation to do that.

23                  And now we'll go forward with the meeting,  
24 please. Suzie Black?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. BLACK: Yes. Thank you. Suzie Black,  
2 Director of Division of Systems Safety and Analysis.  
3 I want to thank you for holding this subcommittee. I  
4 think it's important to hear all the views of all the  
5 stakeholders, because this has been controversial, to  
6 say the least.

7 There have been assertions that the NRC is  
8 fixing the rule to reward bad behavior, and that we  
9 intend to codify -- what we intend to codify is  
10 unsafe, uncontrolled, ad hoc, or last-ditch efforts to  
11 shut the plant down. And I assure you that's not what  
12 this rulemaking is about. Yes, this is supposed to  
13 approve what was previously unapproved, but safe  
14 manual actions.

15 We are continuing to inspect in this area,  
16 and we identify unapproved manual actions or  
17 feasibility is subsequently -- and their reliability  
18 is evaluated by the inspection staff. And if they are  
19 judged on safety significance, there is corrective  
20 actions as well as comp measures that are required.  
21 It is only those that we believe that are acceptable  
22 that will be approved through this rulemaking.

23 Now, the rule language itself has not been  
24 that easy to develop, and it may not be able to cover  
25 all situations which are safe, but, nonetheless, may

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 not meet the criteria. They'd end up in the final  
2 rule, and so there may be some exemptions still  
3 required for some situations that we still believe are  
4 safe.

5 But the rule language itself has to be  
6 pretty specific, and in order to preclude ones that  
7 could potentially be unsafe and unacceptable.

8 Fire protection also relies on defense-in-  
9 depth, and we are ensuring through this rule that we  
10 aren't undermining the principle of defense-in-depth  
11 through this rulemaking.

12 The rule language has been put on the web,  
13 and I think -- I believe we e-mailed it to all the  
14 stakeholders a couple days ago in preparation for this  
15 meeting. There have been some comments that it's not  
16 risk-informed. Well, that's true.

17 This part is not risk-informed, but we  
18 have 50.48(c), which is the risk-informed fire  
19 protection rule. And that fire protection rule could  
20 accommodate these manual actions, and a comprehensive  
21 risk-informed evaluation of these manual actions.

22 But risk-informing this one piece of  
23 Appendix R would be much more difficult, and we  
24 support more of a holistic approach through 50.48(c).  
25 But let me reiterate that it is not our intention to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 permit unsafe, unfeasible, non-reliable manual actions  
2 in lieu of protection through fire protection features  
3 in this rulemaking.

4 That concludes my opening statement.

5 MEMBER WALLIS: Suzie, can I ask you  
6 something here?

7 MS. BLACK: Sure.

8 MEMBER WALLIS: How long have these  
9 unapproved actions been going on for?

10 MS. BLACK: It could be as long as I think  
11 15 years perhaps.

12 MEMBER WALLIS: So for 15 years, they've  
13 been doing unapproved things.

14 MS. BLACK: Yes.

15 MEMBER WALLIS: Okay. Thank you.

16 CHAIRMAN ROSEN: Suzie, I want to  
17 compliment you and hold you up as a model for the rest  
18 of the staff for completing your talk on time.

19 MS. BLACK: Thank you.

20 (Laughter.)

21 CHAIRMAN ROSEN: David?

22 MR. DIEC: Good afternoon. My name is  
23 David Diec, and I'm the Project Manager for this  
24 rulemaking effort.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           With me today, who will make the  
2 presentation as we go through the talk today, are  
3 Erasmia Lois from the Office of Research; Alex Klein  
4 from the Office of Nuclear Reactor Regulation; Alan  
5 Kolaczowski is from SAIC, who is supporting Research  
6 in this effort; and Leslie Kerr, who is from the Reg  
7 Analysis group of NRR.

8           Before we go into the detailed discussion  
9 today, I'd just like to go over the status real quick,  
10 that we are in the final preparation for the EDO  
11 review and concurrence of the proposed rulemaking  
12 package. We are scheduled to go back to brief the  
13 full committee next week early, and we are asking for  
14 a letter of recommendation on this proposed rule.

15           We are committed to give the Commission  
16 the package in early December for consideration, and  
17 this is where we are as far as the status of the  
18 rulemaking.

19           I will -- the agenda for today's  
20 discussion, I will go through background information  
21 about the --

22           MEMBER WALLIS: David, are you going to  
23 demolish the arguments that we're going to hear after  
24 your presentation -- in your presentation? Or how do

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we get an answer to the public comments, if that's the  
2 end of the session today?

3 MR. DIEC: I'm sorry?

4 MEMBER WALLIS: We're going to hear some  
5 public comment at the end of today, right?

6 MR. DIEC: Right.

7 MEMBER WALLIS: How do we get a response,  
8 if they are the last people to speak?

9 MS. BLACK: Let me -- can I answer that?  
10 I think a lot of the comments that we're going to  
11 receive today will be appropriate comments for us to  
12 consider during the proposed rulemaking. And I don't  
13 think this is our last opportunity to go forward.

14 What we're asking you today is that the  
15 rule is good enough to go out for proposed rulemaking.  
16 We realize there's going to be a lot of comments on  
17 this rule. In fact, the rule itself, when it goes out  
18 for comments, will actually ask particular questions  
19 on those areas where we think there's a lot of  
20 interest from the public.

21 MEMBER WALLIS: So the letter -- you want  
22 a letter from us in November.

23 MS. BLACK: Yes.

24 MEMBER WALLIS: All we can say is, "Send  
25 out the public -- for public comment the rule."

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. BLACK: Yes. We think -- if you think  
2 it's good enough to go out for public comment, then we  
3 will --

4 MEMBER WALLIS: Okay. We're not going to  
5 say it's a great rule. We're just going to say --

6 MS. BLACK: Right.

7 MEMBER WALLIS: -- it's good enough to go  
8 out and be commented upon.

9 MS. BLACK: Correct.

10 CHAIRMAN ROSEN: Or we could say it's not  
11 good enough.

12 MEMBER WALLIS: Or we could say it's not  
13 good enough. But we're not --

14 CHAIRMAN ROSEN: But you ought to change  
15 this or that.

16 MEMBER WALLIS: But we're not going to  
17 give a blessing to the rule.

18 CHAIRMAN ROSEN: I think we have three  
19 possibilities -- yes, no, or yes but.

20 MEMBER WALLIS: Yes. Well, we could say  
21 we have lots of reservations about the rule, but it  
22 should still go out for comment. We could say that.

23 CHAIRMAN ROSEN: And we can list our  
24 reservations.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER WALLIS: Yes. Okay, sure. Thank  
2 you.

3                   MR. DIEC: I will go through the  
4 background agenda for the discussion today, and  
5 elements of importance to the rule development will be  
6 discussed by Alex. Acceptance criteria also will be  
7 discussed by Alex.

8                   Key issues will be discussed, and the  
9 time-margin concept, from the Office of Research and  
10 Detection Suppression -- will be, again, from Alex.

11                   And, lastly, we'll follow with the  
12 recommendations and results. Lastly, the proposed  
13 rule text, which we published recently and made it  
14 available to public, I will walk through of how we  
15 construct the rule language itself.

16                   As Suzie alluded to earlier, that we  
17 became aware that operator manual action being  
18 utilized by licensees to satisfy 10 CFR Part 50,  
19 Appendix R, Section III.G.2. We subsequently revised  
20 the IP to focus inspectors on the visibility of such  
21 action.

22                   The NRC indicated that the current  
23 requirement in the Section III.G.2 cannot reasonably  
24 be interpreted to allow the use of operator manual  
25 action, other than fire barrier distance separation

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 detection to bring the plant down to the hot safe  
2 shutdown condition.

3 We also recognize that while operator  
4 manual action is judged to be in compliance with the  
5 regulation, the use of such action to achieve safe  
6 shutdown as an alternate approach is acceptable  
7 through exemption requests.

8 We'd note that the industry  
9 representatives, through a number of meetings, stated  
10 that many licensees are not in compliance with  
11 existing requirements. And we also believe that if  
12 those manual actions were to be reviewed and approved  
13 by the staff, they more than likely would be found to  
14 be acceptable and safe.

15 Because of the apparent misinterpretation  
16 of the current rule, in 2003 we forwarded the  
17 rulemaking plan in SECY 03-100 to the Commission for  
18 consideration, asking for authority to codifying the  
19 use of operator manual action in Section III.G.2, and  
20 to consider enforcement action or other alternatives  
21 to provide regulatory stability as part of the  
22 rulemaking plan. Shortly after the Commission issued  
23 the SRM in September of 2003, approved the staff  
24 rulemaking plan to proceed with such action.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           We believe that the NRC resource would be  
2 better utilized and applied -- when applied to  
3 significant safety issues. Fire protection regulation  
4 would be more efficient and effective when it includes  
5 the use of operator manual action.

6           MEMBER WALLIS: So you're on your next  
7 slide now, David?

8           MR. DIEC: Yes. Thank you. And this  
9 objective is certainly consistent with one of the  
10 NRC's --

11           MEMBER WALLIS: Is that the only  
12 objective? I mean, isn't there some safety objective  
13 involved here?

14           MR. DIEC: Yes. It is only one of the  
15 objectives that we --

16           MEMBER WALLIS: Isn't the safety objective  
17 the prime objective? I mean, I don't really care how  
18 efficient you are, though you're spending my money.  
19 But your main objective is safety. And if you have  
20 some measure of that, you could tell us. Maybe that  
21 will be more helpful than just this objective here.

22           I mean, this is fine, but presumably the  
23 agency is always trying to be efficient. But its  
24 mandate is to do something about safety. So I'm

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 surprised you don't have a rule objective which is  
2 some -- has some measure of safety in it.

3 MEMBER SIEBER: Well, I presume that you  
4 could forego the rulemaking process and just do  
5 everything by exemption. Is that correct?

6 MR. DIEC: Certainly, the exemption  
7 process is always there.

8 MEMBER SIEBER: And so this is really a  
9 move to be more specific in what it is you require,  
10 and to be more efficient in the use of your time and  
11 the licensee's time, I presume.

12 MR. DIEC: The hope is to reduce the  
13 overall burden through a number of reductions in  
14 trivial and insignificant administrative exemptions.

15 MEMBER SIEBER: On the other hand, does  
16 this rule -- proposed rule break new technical ground,  
17 or is it more of a pro forma thing, like a licensee  
18 would submit an exemption and the staff would approve  
19 it? It seems to me that there's a little bit more to  
20 the rule than what licensees now have, which is not  
21 consistent with the rule, right?

22 MS. BLACK: Well, I think -- this is Suzie  
23 Black. When we first put out the inspection criteria  
24 back in March 2003, we used criteria that we had been  
25 using through -- to review III.G.3 areas, and other --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we have other manual actions that are used in the  
2 plant, not just in fire protection. So we used that  
3 information to put out the inspection criteria.

4 But through the ACRS meeting and other  
5 comments, we have been refining that. So I'd say in  
6 some ways we are writing things down that I think that  
7 we probably -- when we did an exemption review we  
8 thought about these things, but there was no explicit  
9 criteria.

10 And the fact that we needed to have  
11 explicit criteria in the rule made it seem like we're  
12 breaking new ground. But I think we're just trying to  
13 codify what we have always believed we have done as  
14 far as reviewing these manual actions.

15 MEMBER SIEBER: Okay. Which --

16 MEMBER WALLIS: Well, if it's just a  
17 housekeeping activity, why do you involve the ACRS?  
18 If it's just tidying up --

19 MEMBER SIEBER: Well, it's more than that,  
20 because there is no way for us to make that judgment,  
21 because it hasn't been strictly codified in the past.  
22 And so now this is a -- sort of an initial attempt to  
23 put in Title X the requirements that otherwise existed  
24 in inspection plans and the standard review plan, to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 some extent, or was otherwise assumed to be implicitly  
2 known by everyone.

3 MEMBER WALLIS: Just to make it more  
4 formal and understood by everybody.

5 MEMBER SIEBER: Well, that's a laudable  
6 goal, and I think that putting aside whether we're  
7 more efficient or not, the fact that you write down  
8 what your expectation is and can then cite something  
9 official like Title X is the appropriate way to go,  
10 provided that the proposed rule is really a good rule.

11 CHAIRMAN ROSEN: Well, I think I want to  
12 respond to Graham's question about safety. After all,  
13 that is why we're here, and I -- in thumbing, again,  
14 through this package, and looking at all of my yellow  
15 stickies, I do recall something about -- and maybe it  
16 was the reg analysis, where the safety benefits of the  
17 rule are discussed. Am I dreaming or --

18 MS. KERR: They're not discussed --

19 MEMBER SIEBER: Come to a microphone. Any  
20 one.

21 MS. KERR: They're not discussed  
22 extensively, no, in reg analysis.

23 MEMBER SIEBER: And your name?

24 MS. KERR: Leslie Kerr.

25 MEMBER SIEBER: Okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MEMBER WALLIS: Is somebody going to tell  
2 us the safety benefit?

3           MS. BLACK: I don't know that there is so  
4 much a safety benefit as it is maintaining safety. We  
5 believe that we're going to permit manual actions  
6 through this rule that we would have permitted through  
7 the exemption process or the approval process for  
8 post-1979 plants. But in this way we're putting it in  
9 the rule, and, therefore, when we approve it we don't  
10 need to give an exemption,.

11           MEMBER WALLIS: So maybe you're trying to  
12 ensure that you don't lose safety?

13           MS. BLACK: Exactly. Yes.

14           MR. KLEIN: This is Alex Klein. The rule  
15 right now, as it exists, III.G.2, does not allow  
16 operator manual actions under III.G.2. And what we're  
17 attempting to do is to codify the implementation of  
18 manual actions, and at the same time include what the  
19 staff believes to be acceptable feasibility/  
20 reliability criteria for implementing those manual  
21 actions.

22           So in that respect, I believe that, you  
23 know, we're putting down on paper a standard, if you  
24 will, that would ensure safety when you -- when a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 licensee implements an operator manual action under  
2 III.G.2.

3 MEMBER WALLIS: Okay.

4 MR. DIEC: We have met with various  
5 stakeholders, including the subcommittee a number of  
6 times. In September of last year, we briefed you on  
7 the rulemaking plan itself, and in October of last  
8 year we discussed the interim acceptance criteria with  
9 a number of stakeholders, and subsequently we've  
10 released that through the Federal Register notice to  
11 solicit stakeholder comments on the interim acceptance  
12 criteria.

13 And we received a number of comments,  
14 which we incorporate that into the package that you  
15 have in front of you for review before we came and  
16 talked with you today.

17 In April of this year -- let me go back a  
18 little bit. During the rulemaking plan back in  
19 September 2003 when we briefed you, you raised a  
20 question about the reliability of the use of operator  
21 manual action. And in April, we addressed that issue  
22 by introducing the concept of time margin, which Alex  
23 will discuss in detail as we go through the  
24 presentation today.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The role of detection and suppression was  
2 also raised. We discussed about the rationale, which  
3 Alex again will go through in detail today why we  
4 consider detection and suppression as part of the  
5 defense-in-depth. Applicability of manual action to  
6 other section of III.G, namely III.G.1 and III.G.3  
7 areas, were raised by stakeholders.

8           In the proposed rule package itself, we  
9 proposed the Commission to endorse the approach that  
10 we would ask a number of questions, to present a  
11 number of questions to the public and ask for a  
12 response in these areas, whether or not the -- what  
13 will be the appropriate margin for the time margin  
14 consideration or whether or not the types of  
15 suppression systems being considered, and whether or  
16 not there will be advantages or disadvantages by  
17 applying operator manual action in other sections  
18 beyond what we're considering for Section III.G.2.

19           One point I wanted to -- let me go back to  
20 -- to the next slides. In June -- following shortly  
21 after that, in June of this year, we held a Category 3  
22 public meeting where we invited not only industry  
23 representatives but other public interest groups to  
24 participate in a meeting. The purpose was to obtain  
25 additional information, and help us to gather the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 information and consider those for the formulation of  
2 the proposed rule.

3 The role of detection and suppression was  
4 also discussed in detail at this meeting, as well as  
5 the applicability of manual action. That's the reason  
6 why we want to propose the questions in the rule  
7 packing -- package itself, to ask such questions and  
8 soliciting the response back as we go through the  
9 Commission endorsement for the publication of the  
10 proposed rule package.

11 One thing I want to stress in this meeting  
12 is that at the conclusion of the meeting industry  
13 representatives acknowledged that the role of manual  
14 action has -- is important for defense-in-depth  
15 approach. So that is the point that I want to say.

16 MEMBER WALLIS: Now, this public meeting.  
17 You have experts from the industry that's affected  
18 that's being regulated, and you maybe have a few  
19 concerned citizens. Do you have experts in fire  
20 protection? Somebody who is sort of outside the  
21 politics of this thing who can actually give you a  
22 technical evaluation of what's being suggested?

23 MR. DIEC: If I recall correctly, the  
24 participants, most of them, you're right, they --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER WALLIS: They all have something at  
2 stake, and I'd like there to be some sort of impartial  
3 knowledgeable observer there who could give proper  
4 advice. I mean, I'm not an expert on fires. But if  
5 there were someone who were distinguished and  
6 knowledgeable who could say this is okay, that might  
7 help me more than people who are just representing  
8 their own stake.

9                   MR. DIEC: No, I don't recall such  
10 individuals that you are alluding to.

11                   MEMBER WALLIS: I don't know how we bring  
12 that into the discussion. That would help me.

13                   MR. DIEC: Right. We recently engaged  
14 with stakeholders again last month at the information  
15 -- Fire Protection Information Forum. And as I  
16 discussed earlier, that we published the proposed rule  
17 text on our website and for information of what the  
18 rule text is going to look like and what it's going to  
19 say.

20                   At this juncture, I'm going to switch over  
21 to Alex to discuss about the elements important to the  
22 rule development itself.

23                   CHAIRMAN ROSEN: We're right on schedule,  
24 David. Very good.

25                   MR. DIEC: Thank you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 CHAIRMAN ROSEN: Actually, one minute  
2 ahead.

3 MR. KLEIN: Good afternoon. My name is  
4 Alex Klein. I'm a Senior Fire Protection Engineer in  
5 the Plant Systems Branch in the Division of Systems  
6 and Safety Analysis in the Office of Nuclear  
7 Regulatory -- in the Office of Nuclear Reactor  
8 Regulations.

9 I've been with the agency almost a year  
10 and a half now, and I've been involved with operator  
11 manual actions now a little over four months. I've  
12 been given that dubious distinction of providing the  
13 technical lead on this project.

14 MEMBER WALLIS: Can I ask you, then, about  
15 your expertise --

16 MR. KLEIN: Yes, sir.

17 MEMBER WALLIS: -- on fire protection?

18 MR. KLEIN: Yes, sir. I've got over 25  
19 years of fire protection engineering experience. I'm  
20 a registered fire protection engineer. I've worked  
21 for the industry for 10 years. I worked for the  
22 industry as a consultant for over five years.

23 MEMBER WALLIS: That's very good. I mean,  
24 I just wondered if you had that sort of background or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 if you'd been transferred from somewhere else and you  
2 were learning.

3 MR. KLEIN: No, sir. I'm a bona fide fire  
4 protection engineer.

5 MEMBER WALLIS: Thank you.

6 MR. KLEIN: What I'd like to talk to you  
7 about is -- and I'll move through this very quickly,  
8 because I believe that we've -- you folks have already  
9 heard this before during the April meeting and perhaps  
10 some of it during the September meeting.

11 But I want to just give you a little bit  
12 of background on why we provided acceptance criteria,  
13 because the acceptance criteria provides the standard  
14 to which -- that provides a reasonable level of  
15 assurance that the operator manual actions can be  
16 satisfactorily, reliably, and feasibly accomplished.

17 Now, this -- these manual actions, the  
18 criteria that we're proposing in our rule, address, as  
19 we've said before, both the feasibility -- in other  
20 words, can it be done, and the reliability, which  
21 addresses the repeatability of the manual actions.

22 MEMBER WALLIS: Can you give us a measure  
23 of these reasonable levels of assurance?

24 MR. KLEIN: We're going to talk about the  
25 criteria, and I will provide to you some details of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the criteria that will provide what I believe is a  
2 reasonable level of assurance. Did I answer your  
3 question?

4 MEMBER WALLIS: Are you going to give us  
5 some measure of that?

6 MR. KLEIN: I can't quantify -- I cannot  
7 quantify the measure of reasonable assurance. I can't  
8 give you a number, if that's what you're looking for.

9 MEMBER WALLIS: Well, I always get a  
10 little nervous when I get these vague terms. And I  
11 have a reasonable level of assurance that I won't hit  
12 my finger when I'm chopping wood, but I did last time  
13 I did it. I mean, so, you know, what's the sort of  
14 expectation of probability of success? Are you going  
15 to tell us something about that?

16 MR. KLEIN: Not in terms of numbers. I  
17 think that -- because this is -- Appendix R is a  
18 deterministic rule, what we've proposed are  
19 deterministic criteria with defense-in-depth to  
20 provide that reasonable level of assurance.

21 MEMBER WALLIS: So it's all in the mind of  
22 the beholder somehow? What I think is reasonable may  
23 not be what you think is reasonable?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. KLEIN: What we've tried to do is put  
2 down what we believe to be are clear and objective  
3 criteria to prevent the --

4 MEMBER WALLIS: In case it has to have  
5 some numbers associated with it. Otherwise, it's all  
6 just debatable.

7 MR. GALLUCCI: This is Ray Gallucci from  
8 NRR Fire Protection. The time margin concept  
9 discusses the reliability aspect. It does not get  
10 into human -- HRA has not been incorporated into this  
11 rule where you're going to have thresholds for human  
12 error probability that must be met. The reg analysis  
13 -- the reg guide does discuss the criteria in detail  
14 and gives you listings of guidance, etcetera, as to  
15 what would be -- how you would meet their  
16 acceptability.

17 The reg guide also has taken an initial  
18 attempt at quantifying the time margin, which is a  
19 surrogate measure for the human reliability/human  
20 error probability. So I think as far as any  
21 measurable values as far as today's presentation, I  
22 think the farthest we're going to get will be Alan's  
23 presentation on time margin.

24 MEMBER WALLIS: Can you give me a  
25 ballpark? Are you saying that they'll perform the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 right action 50 percent of the time or 90 percent or  
2 99 percent? What kind of ballpark are you talking  
3 about when you say "reasonable level of assurance"?

4 MR. KOLACZKOWSKI: Alan Kolaczkowski,  
5 SAIC. I'll try to give you a general -- at least a  
6 rough idea. I think that if all these criteria are  
7 met, many of which basically address performance  
8 shaping factors as we would consider them in human  
9 reliability analyses, etcetera, that if you were to  
10 put it through an HRA model and say, "Okay, you have  
11 instrumentation, you have the necessary time, you have  
12 accessibility, you know the equipment will operate,"  
13 etcetera, etcetera. I have a feeling most HRA models  
14 would predict numbers down in the  $10^{-2}$ ,  $10^{-3}$  failure  
15 probability, if not lower. That's my own personal  
16 opinion.

17 MEMBER WALLIS: That would be very helpful  
18 to me, rather than these qualitative statements.

19 CHAIRMAN ROSEN: Now, Alan --

20 MEMBER SIEBER: But that's subjective,  
21 right?

22 CHAIRMAN ROSEN: -- let me examine that  
23 for a moment.  $10^{-2}$  to  $10^{-3}$ , that's with time margin  
24 that meets the requirements of the rule, the two times

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the required time? I just want to be sure I  
2 understand what you're saying.

3 MR. KOLACZKOWSKI: Yes. I'm coming at it  
4 as if the rule, as it's currently envisioned, were --  
5 in other words, all its elements were in there. And,  
6 again, I'm just trying to throw out an answer very  
7 quickly to a question. But I -- I would think that  
8 most HRA models, no matter what you use, whether it's  
9 THERP, ATHENA, whatever, with these kinds of  
10 performance shaping factors you're going to get some  
11 fairly low failure probabilities.

12 CHAIRMAN ROSEN: Well, one of the key  
13 performance shaping factors is time.

14 MR. KOLACZKOWSKI: Is enough time to do  
15 it.

16 CHAIRMAN ROSEN: Is the staff is properly  
17 recognized.

18 MR. KOLACZKOWSKI: Certainly.

19 CHAIRMAN ROSEN: And put in a time margin  
20 of a factor of two on the required time.

21 MR. KOLACZKOWSKI: Yes.

22 CHAIRMAN ROSEN: So that would force --  
23 suppress the performance shaping factor for time down  
24 to a fairly low value.

25 MR. KOLACZKOWSKI: Yes. That's --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN ROSEN: It suppresses the failure  
2 probability for time -- required time to a fairly low  
3 value.

4 MR. KOLACZKOWSKI: That is correct.

5 MEMBER SIEBER: But the only quantitative  
6 measure is the time it takes to do it, plus the  
7 margin, as opposed to, are you going to do it  
8 correctly? Are the environmental conditions  
9 sufficiently mild so that it's possible for a human  
10 being to reliably take the action that you're  
11 presupposing, and so forth? So those factors really  
12 aren't explicitly in the rules, just the timeline,  
13 plus margin. Right?

14 MR. KOLACZKOWSKI: I mean, the only other  
15 acceptance criteria are in the rule. And they all  
16 play a role in human performance. I mean, obviously,  
17 if a piece of equipment is not accessible, you can't  
18 get to it, I don't care if you have a whole lot of  
19 time, you can't perform the action.

20 MEMBER SIEBER: But that's --

21 MR. KOLACZKOWSKI: So certainly all of the  
22 other criteria also play a role in the human  
23 performance being able to actually carry out the  
24 action.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER SIEBER: But that's a zero or one,  
2 if you can't get to it because the door is locked.

3                   MR. KOLACZKOWSKI: Effectively, yes.  
4 Effectively, is there a way? It removes a lot of the  
5 uncertainty in terms of the reliability, being able to  
6 perform the action.

7                   MEMBER WALLIS: This is all in there? I  
8 mean, if there's a smoke-filled room, presumably the  
9 sprinkler goes off because it just measures  
10 temperature and sprinkles. But if somebody can't get  
11 in there because of the smoke, he doesn't do what the  
12 sprinkler would do.

13                  MS. BLACK: Excuse me.

14                  MEMBER WALLIS: Are we placing the  
15 sprinkler with a person? You've got to consider all  
16 that sort of --

17                  MS. BLACK: This is Suzie Black. The  
18 place where the manual actions are taken is not in the  
19 room where the fire is or where the sprinkler is.

20                  MEMBER WALLIS: It's all in the control  
21 room?

22                  MS. BLACK: No. It may be in another fire  
23 area. You are assuming that the cable in the area  
24 with the fire burns up, and that's why you need the  
25 manual actions.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MEMBER WALLIS: Lost it. Okay.

2 MS. BLACK: Right.

3 CHAIRMAN ROSEN: Alex?

4 MR. KLEIN: Thank you. The last bullet  
5 really is to -- just to indicate that the criteria  
6 that we're providing in the rule is to permit both the  
7 licensees and the NRC to establish some consistency,  
8 so that we're all on the same page basically.

9 The acceptance criteria also provides  
10 parameters, again, for both -- both which the  
11 licensees and the NRC can use when a licensee conducts  
12 its evaluations, whether or not it can implement a  
13 manual action, and it also provides the regulator the  
14 ability to conduct an inspection in an objective and  
15 thorough manner using the same acceptance criteria.

16 And the last bullet speaks to the fact  
17 that the criteria that we've developed generally apply  
18 to human actions and other applications. In other  
19 words, the criteria that we've developed we believe is  
20 not anything that's new.

21 It's criteria that we've used in other  
22 areas, and I'll give a very quick example -- is under  
23 Appendix R, Section III.I, which is fire brigade  
24 training area. You'll see that there's some very

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 specific requirements in there for training, for  
2 instructions, for practice, and for drills.

3 So the human action type of criteria that  
4 we've developed are included -- have been developed in  
5 other areas. And I know that -- I believe Alan is  
6 going to talk a little bit about the background of the  
7 development of the time concept, but the criteria  
8 itself is out there today in standards such as the  
9 ANSI 58.8 standard, which the staff looked at in  
10 detail for adoption here.

11 Now, the criteria was developed because we  
12 needed to consider the fact that fires are often a  
13 dominant contributor to plant risk. I believe that  
14 we're all very well aware of that. The other item I  
15 wanted to mention is that fires -- they're a unique  
16 hazard, and the efforts to mitigate their effects --  
17 and I've used the example of spurious actuation, for  
18 example, of valve closing or something like that.

19 It involves extensive activity outside of  
20 the main control room. And when you have fires, or a  
21 fire in a nuclear powerplant, it presents a very  
22 unique environmental hazard in the plant that you need  
23 to address if you are going to send a human -- an  
24 operator out into the area.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           For example, I've got listed here that  
2 he's got to consider the -- the licensee has to  
3 consider the fact that there is smoke, that there's  
4 heat, toxic gases, either along the access or egress  
5 routes for the operator. There are suppression  
6 activities that take place in the plant that might  
7 interfere with the operator manual action, the access  
8 and egress routes thereto.

9           For example, there might be fire hoses  
10 laid out through the area that that operator would  
11 have to deal with in order to access or egress the  
12 area that he needs to take the manual action at.

13           So with that, let me just quickly go  
14 through the acceptance criteria. You've seen a lot of  
15 this in different wording, I believe. What we've done  
16 is we've restructured the criteria somewhat. We've  
17 got under the proposed rule language under III.P.2(a)  
18 a criteria for analysis, which basically determines  
19 the feasibility and reliability of the operator manual  
20 action, where the licensee is required to develop a  
21 fire timeline and the time margin that we'll talk  
22 about.

23           The licensee needs to consider the  
24 environmental conditions that I just spoke about,  
25 consider the functionality of and the accessibility of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the equipment or the cables that he might need to  
2 access. He needs to consider the indications,  
3 diagnostics, confirmatory, so forth. Certainly,  
4 communications are important. Portable support  
5 equipment -- you know, is he going to need a ladder?  
6 Is he going to need a key? Is he going to need a  
7 flashlight? Things like that.

8 And, of course, last -- the life support  
9 equipment for that operator. Is that --

10 MEMBER WALLIS: Put that in perspective  
11 for me. What are these manual actions replacing? I  
12 thought they were replacing requirements on separation  
13 of trains and barriers and things like that.

14 MR. KLEIN: That's correct. The --

15 MEMBER WALLIS: So it's a very indistinct  
16 connection. I mean, if you want to do something about  
17 a fire, that's a completely different question in my  
18 mind to: what does the operator do to bring the  
19 system to cold shutdown?

20 MR. KLEIN: Yes.

21 MEMBER WALLIS: They're two different  
22 things, aren't they?

23 MR. KLEIN: Well, as Suzie indicated, the  
24 fire takes place in the area where you've got

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 potentially unprotected, redundant trains. For  
2 example, because you've got the lack of fire barrier.

3 MEMBER WALLIS: So the operator has to  
4 know that if the fire is there he's got to be much  
5 more careful about what he does, because he might lose  
6 two trains rather than one or something, is that what  
7 it --

8 MR. KLEIN: Well, that could be one of  
9 them. The operator has to be aware of what manual  
10 actions he takes place -- that takes place that  
11 doesn't inadvertently affect his ability to safely  
12 shut down the plant.

13 MEMBER WALLIS: I'm worried about him  
14 running around the plant looking for a ladder. That  
15 seems to be --

16 MR. KLEIN: No.

17 MEMBER WALLIS: -- totally inappropriate.

18 MR. KLEIN: The reason we put the criteria  
19 for portable support equipment in here is because of  
20 the timing issue. We also do not want an operator in  
21 a plant looking for a piece of equipment that's vital  
22 for him to perform that manual action.

23 MEMBER WALLIS: It's going to be there.

24 MR. KLEIN: That's what we're suggesting.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN ROSEN: It would be pre-staged,  
2 I take it, in accordance --

3 MR. KLEIN: Yes.

4 CHAIRMAN ROSEN: -- with the fire pre-  
5 plan.

6 MR. KLEIN: That's right. In  
7 accordance --

8 CHAIRMAN ROSEN: The operator would simply  
9 know there's a fire in Region X. Therefore, I have to  
10 go to Region Y and do the things I've been trained for  
11 for the fire in Region X. And I expect when I get to  
12 Region Y there will be a ladder posted on the wall.  
13 I've been there before, and I know there's a ladder  
14 there. I hope it will be there today. And then, when  
15 I take it down, I'll be able to climb up and close  
16 the --

17 MR. WEERAKKODY: That's --

18 CHAIRMAN ROSEN: -- that I have to close.

19 MR. WEERAKKODY: That's correct. There  
20 will all be -- I mean, even today that's what the  
21 expectation is. If you are relying on a procedure,  
22 the pre-staging and the equipment is there.

23 CHAIRMAN ROSEN: Right. It's all thought  
24 out in advance.

25 MR. WEERAKKODY: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. KLEIN: That's right.

2 CHAIRMAN ROSEN: In training.

3 MR. WEERAKKODY: Yes.

4 MR. KLEIN: That's right. And if you look  
5 at my next slide, we also have procedures in training,  
6 which the procedures would talk about what actions the  
7 operator is expected to take. And, of course, when  
8 they develop the procedures, we would expect the  
9 licensee to have developed the support equipment.

10 The equipment that I just spoke about,  
11 that you just spoke about, would be available for him  
12 to feasibly and reliably perform that manual action.

13 We have another criteria under  
14 implementation -- in other words, the staffing. We're  
15 requiring that the licensee have qualified personnel.  
16 In other words, the operator needs to be qualified to  
17 perform that manual action. It can't be just anybody  
18 in the plants. And that person or that operator needs  
19 to be available to perform that manual action.

20 In other words -- and I'll give you an  
21 example. If the fire brigade has on its staff two  
22 equipment operators, the licensee, in our viewpoint,  
23 could not utilize any of those two fire brigade  
24 numbers to go ahead and perform a manual action,  
25 because that operator now has a collateral duty, which

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we believe is not feasible and reliable to perform  
2 that manual action.

3 And then, the last criteria that we have  
4 is the demonstration.

5 MEMBER WALLIS: I'm trying to visualize  
6 this again. There's a fire in Region X. So he's now  
7 got to assume that all the trains in that region are  
8 not functional, and he goes to somewhere else and  
9 shuts a valve or opens a valve to get some alternative  
10 way to cool the core.

11 MR. KLEIN: He may do that. He also has  
12 to address any spurious actions that might result.

13 MEMBER WALLIS: And there might be a very  
14 small fire or some spurious -- spurious actuation of  
15 fire detection equipment, which makes him think  
16 there's a fire in Region X. So he throws away his  
17 very useful equipment he's got there, because he just  
18 has to assume it's no longer operable.

19 MR. KOLACZKOWSKI: Alan Kolaczkowski,  
20 SAIC. I think you'll find that most, if not all,  
21 licensees' procedures, upon suspecting a fire, one of  
22 the first things they usually do is first confirm  
23 whether there is a fire or not. I believe all the  
24 procedures are written that way.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1                   MEMBER WALLIS: But, then, suppose you  
2 have some very useful equipment in there. It may not  
3 be damaged. It might be very useful for cooling the  
4 reactor. Do you still have to --

5                   MEMBER SIEBER: No.

6                   MEMBER WALLIS: -- behave as if it were  
7 not there?

8                   MEMBER SIEBER: No.

9                   MR. KOLACZKOWSKI: That will depend on how  
10 the procedures are written. I've seen both types.  
11 I've seen procedures where the preemptive actions go  
12 quite far, and will actually, if you will, they'll  
13 make sure that the good train they're trying to  
14 protect is running, and then start shutting down the  
15 train that's suspect. So at least they still assure  
16 that something is running.

17                   Or they may -- I've seen other procedures  
18 that are more reactive in nature, basically try to  
19 rely on all the equipment that's available and then  
20 just respond to changes in the status as it occurs.  
21 I've seen procedures of both types.

22                   MEMBER WALLIS: So all this is sort of  
23 plant-specific, then, is it?

24                   MR. KOLACZKOWSKI: To some extent.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN ROSEN: It's plant-specific and  
2 region-specific in the plant, depending upon what the  
3 fire pre-plan says.

4 MEMBER SIEBER: But there is no rule that  
5 requires a licensee to assume that everything in the  
6 room now turns to dust.

7 MR. KOLACZKOWSKI: No.

8 CHAIRMAN ROSEN: That's a licensing  
9 fiction. In the plants, they deal with reality.

10 MEMBER SIEBER: Yes. You look at your  
11 instrumentation to see if it's working or not.

12 MR. KLEIN: Okay. The last bullet I have  
13 is on demonstration, and I've put in parentheses the  
14 complements to time margin. And the reason I say that  
15 is because during the demonstration the licensee  
16 performs a walkdown, which can be timed and used as a  
17 benchmark for determining how long the licensee feels  
18 that it's going to take to perform that particular  
19 manual action. And he can use that, then, in the fire  
20 timeline and in the development of his time margin  
21 that Alan will speak about a little bit later --  
22 actually, right now.

23 The next -- I would like to introduce  
24 Erasmia Lois from the Office of Research, who will

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 start the discussion on the time margin concept and  
2 development.

3 MS. LOIS: Thank you, Alex. I work for  
4 the Probabilistic Risk Assessment of the Office of  
5 Research, who is supporting the research supporting  
6 NRR in this rulemaking activity. And, specifically,  
7 we tried to address the issue of reliability,  
8 incorporating the reliability criteria with the  
9 feasibility criteria that were developed by NRR  
10 primarily.

11 On page 13, why we developed the -- how we  
12 came up with the margin concept, in our attempt to  
13 address the ACRS recommendations and comments that we  
14 have to address reliability as well as feasibility,  
15 and desire to incorporate human reliability analysis  
16 insights and lessons learned.

17 And we believe that the time margin  
18 addresses uncertainties that are associated with the  
19 time it takes to diagnose, perform, and verify the  
20 actions in a little bit more detail.

21 The ACRS concerns last year were that the  
22 feasibility only to some extent addressed the  
23 reliability of reactions, the existing qualitative  
24 criteria, and if the -- these criteria were met,  
25 uncertainties will still remain that need to be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 addressed and ensure high reliability of reactions.  
2 And here I'm quoting the ACRS from last year.

3 We met and we tried to figure out how we  
4 can address the ACRS recommendations for incorporating  
5 reliability aspects into the criteria. We wrestled  
6 with the idea of developing reliability goals, but we  
7 felt that it would be very time- and resource-  
8 consuming for both the licensees and the NRC  
9 perspectives.

10 It will need to perform risk and  
11 reliability analysis, but most importantly we would  
12 have to obtain consensus on the approach, model, and  
13 data. And, as you know, human reliability has not  
14 established a consensus on those aspects.

15 MEMBER WALLIS: I'm rather surprised here  
16 that you'd start off by saying fires are the dominant  
17 contributor to risk. So you know it's the biggest  
18 risk. Then, it would seem that the analysis should be  
19 based on risk. You're saying it's too difficult to  
20 do?

21 MS. LOIS: Do you want to answer this?

22 MR. WEERAKKODY: Yes. First, fires --

23 CHAIRMAN ROSEN: Sunil, say who you are.  
24 We know, but --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. WEERAKKODY: I'm Sunil Weerakkody.  
2 I'm the Section Chief in Fire Protection, NRR. Fires,  
3 for some plants, could be the dominant contributor, for  
4 some plants a dominant contributor, not --

5 CHAIRMAN ROSEN: For some plants they are  
6 the dominant contributor. For some they are -- for  
7 many they are not.

8 MR. WEERAKKODY: Yes. And I think what  
9 Erasmia is conveying -- and I agree -- is when we came  
10 to you the last time you did have a proposal. I think  
11 it came from Dr. Wallis -- that we try to come up with  
12 some kind of acceptance criteria that's based on an  
13 HRA number.

14 We went back and we secured, you know,  
15 Research support, and then looked at why we kept doing  
16 that. And I think the last bullet tells you why it's  
17 almost an impossible task. It's not -- if it's an  
18 easy task to do, then we would have done it.

19 But if you look at the ongoing debate  
20 about, you know, the HRA quantification methods, and  
21 then given that in a rule you need some consensus on  
22 the model and the data and approach, that they used  
23 such and such a criteria, we looked at that as an  
24 impossible goal.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So rather than trying to quantify and  
2           create a numerical threshold, what the Office of  
3           Research and, you know, its consultants did was to  
4           look at the factors that -- try to capture and address  
5           them in the time margin.

6           MS. LOIS: And that's on the next slide.

7           MR. WEERAKKODY: Yes.

8           MS. LOIS: If you --

9           MR. WEERAKKODY: Okay. No, no, no. You  
10          go ahead.

11          MEMBER WALLIS: I'm just thinking about  
12          this reliability. When we visit regions -- it's good  
13          to visit regions and hear about the things that happen  
14          at reactors. And I was very struck last time we  
15          visited the region. They gave us lists of things that  
16          had happened in plants, and there were several things  
17          -- the type of team was sent out to close a valve, and  
18          they went to the wrong place and closed the wrong  
19          valve.

20          And things like that happen at plants.  
21          I'm not saying it happens every day, but this is the  
22          kind of thing that does sometimes happen. And I would  
23          think you would want to somehow factor that into your  
24          decisionmaking here.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. LOIS: And we believe we did. If we  
2 -- if we just go to the next slide.

3 MEMBER WALLIS: Are you going to tell us  
4 how you did it?

5 MS. LOIS: Yes. That's right.

6 Next slide, please.

7 MEMBER SIEBER: Well, the answer to that  
8 question, which I think is a very good question, is  
9 you're faced with the decision, do you allow a manual  
10 action, or should you modify the plant, so you don't  
11 need one? And when you don't quantify the probability  
12 of a bad outcome, there is no way to decide whether  
13 you ought to modify the plant or not, other than a  
14 deterministic way, which this rule provides a -- sort  
15 of an escape hatch.

16 MS. LOIS: However, if we look at the  
17 bullet which is after -- the third bullet, weapons and  
18 it is -- what we recognize -- why we were thinking  
19 about how we could develop our reliability goals or  
20 thresholds, we recognized that the feasibility  
21 criteria address key human performance aspects that  
22 we're dealing with in the human reliability.

23 So a lot of the issues that we would build  
24 with in the human reliability analysis, and as part of  
25 our -- all the uncertainty, if you wish, are now much

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 more deterministically determined -- I mean, set --  
2 because the staffing will be there, the equipment will  
3 be there, so these are not uncertainties, are not  
4 dealt in the uncertainty area anymore.

5 So we've -- that aspect, the fact that the  
6 -- we have deterministic criteria that would ensure  
7 staffing availability procedures, equipment,  
8 demonstration of the feasibility of the actions,  
9 reduced the uncertainty from a human reliability  
10 perspective.

11 And we felt that the remaining uncertainty  
12 -- uncertainties, which is, well, the day or the time,  
13 what would -- would the best group be available, will  
14 it be harsh environmental conditions, etcetera, would  
15 be accommodated by allowing time to perform the  
16 action. So that's the basic answer.

17 MEMBER WALLIS: I have to ask you: what  
18 are the units of this equation? Feasibility plus  
19 margin equals reliability?

20 MS. LOIS: That's --

21 MEMBER WALLIS: Are they dimensionless or  
22 something? Or what is -- what are the units of  
23 sequence? Or is it such a conceptual thing we  
24 shouldn't --

25 MS. LOIS: It's a concept.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MEMBER WALLIS: -- we shouldn't take it  
2 literally?

3 MR. WEERAKKODY: It's a conceptual --

4 MS. LOIS: It's a concept. It's a  
5 concept.

6 CHAIRMAN ROSEN: I think an arrow would be  
7 more appropriate than an equal sign. We all react  
8 differently to equal signs. Some, like Dr. Wallis,  
9 react very mathematically.

10 (Laughter.)

11 MEMBER WALLIS: Well, I'm a bit concerned  
12 that we might end up with something bigger than one  
13 here.

14 (Laughter.)

15 CHAIRMAN ROSEN: All right. Go ahead.

16 MS. LOIS: So Alan was the primary  
17 developer, came up with the idea. So if you don't  
18 like it, blame it on Alan.

19 MR. KOLACZKOWSKI: Oh, you're going to  
20 blame it on me, are you?

21 MS. LOIS: He can explain it a little bit  
22 more in detail.

23 MR. KOLACZKOWSKI: First of all, just so  
24 that we can all envision -- be envisioning the same  
25 thing, this is our concept of what the time margin is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and what it's trying to do. This is a timeline going  
2 from left to right, and it's trying to depict, in a  
3 general sense, what a fire scenario -- how it might  
4 evolve, where the fire begins and may or may not be  
5 noticeable right from the beginning.

6 Obviously, if you have a switch gear  
7 explosion or something like that, it will be  
8 noticeable right from the beginning. On the other  
9 hand, if it's a slow-burning relay or something like  
10 that, it may actually burn for a while, and then  
11 finally something happens, either you get a trip from  
12 the relay tripping or you get a smoke alarm or  
13 whatever.

14 The point is there could be a time which  
15 goes undetected that the licensee still doesn't  
16 realize that a fire has actually started. But at some  
17 point, which we define  $T_0$ , is the first indication to  
18 the plant operators that something is amiss. And  
19 based on the indications, they suspect it could be a  
20 fire.

21 Between  $T_0$  and  $T_1$  there is what we call a  
22 diagnosis time at which the crew is actually  
23 determining, is there really a fire? That's when  
24 they're going to send down an observer or something  
25 and say, "We suspect there might be a fire in Room X.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Please go check. Is there flames? Is there smoke?"  
2 Etcetera, etcetera, and so forth.

3 In the meantime, the main control room  
4 crew may be --

5 CHAIRMAN ROSEN: A trained observer who  
6 doesn't go down and jerk the door open.

7 (Laughter.)

8 MR. KOLACZKOWSKI: There you go.

9 MEMBER SIEBER: Well, if he doesn't  
10 respond, you know there is probably a fire there.

11 MR. KOLACZKOWSKI: On the other hand, the  
12 observer might be the first person who actually saw  
13 the fire. That might be the first indication as well.  
14 But, nevertheless, there is a time at which the  
15 diagnosing and the discerning is there really a fire,  
16 where is it, how extensive is it, so on and so forth,  
17 they may be beginning to pull out their fire  
18 implementation plan, and consideration of that,  
19 etcetera, and so forth.

20 And at some point, once they actually  
21 confirm there's a fire, they're going to probably call  
22 the fire brigade and begin to determine -- these are  
23 the procedures we're actually going to enter. Usually  
24 those are fire location-specific. Depending on where  
25 the fire is, they'll enter a certain procedure,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 because that means certain trains are now suspect of  
2 equipment, which means they want to protect certain  
3 other equipment.

4 At this point, sort of  $T_1$  ends, and we'll  
5 now go between  $T_1$  and  $T_2$  as the actual implementation  
6 phase where local crew members are pulled together,  
7 they're given their assignments. "You're going to  
8 carry out these procedures, these are the actions  
9 we're going to go do." And they go out into their  
10 local -- respective local areas, and they actually  
11 perform the manual actions that we're trying to  
12 credit. So that's the implementation time.

13 So the total time between when they first  
14 get the indication of the fire --  $T_0$  -- through the  
15 diagnostic phase and through the implementation phase  
16 upon which the manual actions are now completed,  
17 they've been verified, they can --

18 MEMBER WALLIS: What determines  $T_3$ ?

19 MR. KOLACZKOWSKI:  $T_3$  is an analytical  
20 exercise that's done -- thermal hydraulic codes, and  
21 so on and so forth, that says, "This is the time I  
22 have to have performed these actions in order to  
23 prevent" --

24 MEMBER SIEBER: To get a result.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. KOLACZKOWSKI: -- "some undesired  
2 state, and so that I can maintain -- achieve and  
3 maintain safe shutdown." So that's an analytically  
4 derived time, a calculational-type thing.

5 MEMBER WALLIS: If we think about TMI, the  
6 diagnosis time was probably 10 to 20 minutes,  
7 depending on what symptoms you think they ought to  
8 have noticed. Implementation time to close the block  
9 valve was pretty well zero, just have to close it, and  
10 yet they stood around for two hours and didn't do it,  
11 because they misdiagnosed what was going on. So the  
12 time margin was huge, but it didn't help them at all.

13 MR. KOLACZKOWSKI: That may be true. But,  
14 again, I think with all of the improvements we've made  
15 since TMI, in terms of a symptom-oriented procedure --

16 MEMBER WALLIS: Some procedures -- if you  
17 make the wrong diagnosis at  $T_1$  --

18 MR. KOLACZKOWSKI: Or clearly --

19 MEMBER WALLIS: -- time margin may not  
20 help you at all.

21 MR. KOLACZKOWSKI: Except that time margin  
22 does still allow you time to recover, to perhaps  
23 rediagnose the event.

24 MEMBER WALLIS: If you have the sense to  
25 think about --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. KOLACZKOWSKI: That's true.

2 MEMBER WALLIS: -- did I do the right  
3 thing or not?

4 MR. KOLACZKOWSKI: That's true.

5 MEMBER WALLIS: Yes.

6 MR. KOLACZKOWSKI: And that's the point.  
7 We are trying to build in a buffer that basically  
8 says, look, things are still -- maybe could go wrong  
9 that you don't anticipate, and we want a buffer. I  
10 think we would all feel much better than if -- even if  
11 we can demonstrate this diagnosis and implementation  
12 time, and let's say we have an action that has to be  
13 done per the calculations within 30 minutes, and the  
14 crew was consistently doing it at 29-1/2 minutes, I  
15 don't think we'd feel as comfortable than if the crew  
16 was consistently doing it in 15 minutes.

17 MEMBER WALLIS: I guess what I'm saying,  
18 though, is if -- if  $T_2$  is half an hour, and you have  
19 20 minutes' time margin, that may be good. But if you  
20 start to have an hour's time margin, I don't think  
21 you'd gain anything from the extra 40 minutes, because  
22 if they haven't done it by 40 minutes, they're  
23 probably not going to do the right thing anyway. So  
24 after a while, the time margin doesn't keep building  
25 up.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. KOLACZKOWSKI: That is true, Dr.  
2 Wallis. And at some point, I suppose a lot of extra  
3 time just doesn't matter.

4 MEMBER WALLIS: Doesn't help at all.

5 MR. KOLACZKOWSKI: Just like adding a  
6 whole lot of redundant trains, because the common  
7 cause eventually doesn't --

8 MEMBER WALLIS: Done the wrong thing  
9 already. It doesn't help you.

10 CHAIRMAN ROSEN: But comparing this pre-  
11 drilled and pre-demonstrated and pre-trained  
12 circumstance to the Three Mile Island accident is  
13 simply not an appropriate comparison. We're talking  
14 about a completely different state of actions that are  
15 required.

16 MEMBER WALLIS: I hope we are.

17 CHAIRMAN ROSEN: Much narrower.

18 MEMBER WALLIS: Those guys were trained,  
19 too.

20 MR. KOLACZKOWSKI: Okay. So anyway -- oh,  
21 go ahead.

22 CHAIRMAN ROSEN: I was just going to point  
23 out --

24 MR. KOLACZKOWSKI: Conceptually, this is  
25 what we're trying to -- this is what the time margin

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is. It's trying to provide a buffer between the total  
2 time it will take to diagnose and implement actions,  
3 the time at which those actions have to be  
4 implemented.

5 MEMBER WALLIS: At least the time margin  
6 shouldn't be negative.

7 MR. KOLACZKOWSKI: Yes. And so the  
8 question becomes: how long should the time margin be?  
9 And that's getting into the next slide.

10 CHAIRMAN ROSEN: At what point in this  
11 discussion, Sunil or Alex, do we talk about the  
12 demonstration? It seems to me that there are a couple  
13 of questions one can pose. And one of them is: when  
14 you demonstrate this, do you demonstrate it with one  
15 crew, two crews, three crews, or all crews?

16 Then, there's another question which says,  
17 if having demonstrated with the right number of crews  
18 and gotten reasonable time margins defined, why do you  
19 need to demonstrate it over and over again every year?  
20 Is it every year we have to do this, or every couple  
21 of years it seems like, according to the rule?

22 MR. KOLACZKOWSKI: In the proposed rule  
23 right now, it asks that one crew perform it at a  
24 minimum once a year.

25 CHAIRMAN ROSEN: One crew, once a year.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. GALLUCCI: This is Ray Gallucci. Yes,  
2 it's -- right now, the option to have all crews  
3 perform -- it was discussed earlier -- considered to  
4 be too restrictive. It was reduced to one random crew  
5 that would do it once a year, and the following year  
6 a different crew would do it. But all crews would be  
7 trained, but only one crew would perform the  
8 demonstration on a 12-month calendar cycle.

9 CHAIRMAN ROSEN: Does that mean if you  
10 have 20 of these that you have to do 20 demonstrations  
11 each year?

12 MR. GALLUCCI: Twenty crews or 20  
13 scenarios?

14 CHAIRMAN ROSEN: No, no. Nobody has 20  
15 crews. I mean, 20 actions, 20 manual actions in a --

16 MR. GALLUCCI: You would have to do a  
17 representative number. Hopefully, the -- you would  
18 have to prioritize which ones you would do. You might  
19 want to do the ones that are most difficult. And if  
20 you say that the crew can do the most difficult ones,  
21 we'd give them credit for some of the other ones. You  
22 may have to take a family and maybe do two or three of  
23 them. That would be a judgment.

24 CHAIRMAN ROSEN: Is that clear in the  
25 rule?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MR. GALLUCCI: That would be something  
2 that would go in the Reg Guide but not in the rule  
3 language itself.

4                   CHAIRMAN ROSEN: I'll just pose those  
5 questions, and then perhaps we can come back.

6                   MR. KOLACZKOWSKI: So understanding what  
7 the concept of the time margin is, the question  
8 becomes, "Well, how much margin should there be?" And  
9 we did some literature searches to try to see if there  
10 was existing research, existing literature out there,  
11 that would offer suggestion on what this time margin  
12 should be, and came up with, quite frankly, little  
13 help -- a little bit, but not really what we were  
14 looking for.

15                   And so we decided that we would go through  
16 an expert elicitation process to derive the time  
17 margin or margins. These expert elicitation meetings,  
18 there were two of them. They were each multiple-day  
19 meetings that were held earlier in 2004, and basically  
20 what the meetings involved was we reviewed, prior to  
21 the meetings, actually, procedures -- sample  
22 procedures from both PWRs and BWRs of manual actions  
23 that they want to perform during fire scenarios.

24                   We reviewed a lot of the procedures, and  
25 we identified the types of actions that the licensees

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 are implementing or want to implement. We developed  
2 some example scenarios, and I'll talk a little bit  
3 about the nature of those in just a moment.

4 We also identified the various aspects of  
5 the time -- the things that go into the time  
6 estimates, and what uncertainties still exist. Why  
7 might this time estimate take longer than what we  
8 predict, and so on and so forth.

9 And with that knowledge, and using a  
10 direct numerical estimate approach -- in other words,  
11 we're actually asking the experts to elicit a time  
12 margin number if you will -- and using the guidance  
13 that's out there on how to perform expert elicitations  
14 and avoid biases, and all that other stuff, we went  
15 through this expert elicitation process.

16 Just a little bit about that process. The  
17 panel expertise is indicated here on this slide. We  
18 used, we think, a wide range of relevant expertise to  
19 come up with this time margin. You can see here that  
20 the expertise ranged from those with a lot of fire  
21 inspection experience to a few people had some  
22 operations experience, and one in particular was a  
23 former SRO at a nuclear plant.

24 We had analytical experience in the  
25 reliability risk PRA, HRA, fire analysis areas, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 then we had people also who had backgrounds in either  
2 or both engineering psychology and human factors,  
3 which, again, are also going to play important roles  
4 in the human performance aspect of this whole manual  
5 action issue.

6 We considered, as part of the expert  
7 elicitation meetings -- we talked a lot about the  
8 margins and, for instance, should there be a single  
9 time margin that would always apply? Or should there  
10 be multiple? Should we have a lot of different  
11 margins? If the action has to be performed in 10  
12 minutes, should that have a different margin than if  
13 the action has to be performed in three hours?

14 Should it be a variable margin? Should it  
15 be a percentage? Should it be some percentage of the  
16 demonstrated time? Or should it be an interval that's  
17 added on? Should it just be a constant "you must add  
18 on 20 minutes" or whatever? We talked about the pros  
19 and cons of those various types of time margins, how  
20 many there ought to be, and so on.

21 Recognizing, also, that the kinds of  
22 actions were going to apply to time margin, too, also  
23 varies. Some actions are very simple. We talk about  
24 closing the valve -- very simple, although that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 happens to be an in control room action. But,  
2 nevertheless, some actions are --

3 CHAIRMAN ROSEN: It may not be.

4 MR. KOLACZKOWSKI: -- very simple, and  
5 some are very complex, multiple steps.

6 CHAIRMAN ROSEN: Closing a valve may be an  
7 outside control room action, too..

8 MR. KOLACZKOWSKI: That's right. It could  
9 be. It could be. But, and so we have -- we just  
10 recognize that the range of actions that we're  
11 applying it to also was considerable. And some of the  
12 actions, as I've already alluded to before, are  
13 preventive in nature, and others are reactive in  
14 nature. You look for a symptom, and then you go and  
15 respond.

16 Maybe you wait until the valve is actually  
17 spuriously closed, and then you've got to go down and  
18 reopen another path or whatever, would be a reactive  
19 action as opposed to a preventive action where you go  
20 down and make sure that an alternate valve is open in  
21 the first place.

22 Considering all of that, and considering  
23 the experience -- what little experience there was  
24 about time taken versus time estimates that were out  
25 there, and I believe Dave talked about the fact that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we looked an existing ANSI standard that talks about  
2 providing sufficient time to perform actions and what  
3 that margin ought to be, and so on and so forth.

4 There are some elements of that in the  
5 ANSI standard, although it was too generic for our  
6 purpose here, we felt. Also recognizing that  
7 inspection findings existed where inspectors would  
8 actually have a licensee demonstrate certain manual  
9 actions as part of the inspection exercise.

10 And we saw the gamut where licensees were  
11 able to perform the actions in less time than they  
12 predicted, all the way out to some time taking three  
13 times as much of the pre-judged time.

14 We looked at other -- other experience or  
15 looked at other criteria that we thought would relate  
16 to coming up with this time margin, such as the  
17 criteria in SRP 18, and so on.

18 Looking at all of this, and recognizing  
19 the following -- that, again, we've already alluded to  
20 the fact that a lot of the human performance issues  
21 that we're trying to account for are already  
22 considered through many of the feasibility criteria.  
23 In other words, the other criteria would make sure  
24 that the staff is available, that they're trained,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that the procedures are adequate, that the equipment  
2 availability exists, and so on and so forth.

3 So the time margin wasn't to address --  
4 was not to address these things. What it was to  
5 address is the remaining uncertainties, that you can  
6 still have random problems. You go to turn the hand  
7 wheel by hand to close a valve, and it's stuck, and  
8 now you've got to go get a crowbar and now -- so you'd  
9 need 30 more seconds to go get a crowbar.

10 Then, what you'd demonstrate during the  
11 demonstration in which you just pretend to close the  
12 valve, and you pretend that it moves just fine. And  
13 you don't build in an extra time that says, "What if  
14 the valve doesn't move, and I have to go spend an  
15 additional minute to go get the crowbar to be able to  
16 move the valve?" An example.

17 Environmental -- we can try to predict  
18 what the environmental conditions are. But, you know,  
19 smoke has a way of going places that you don't  
20 predict, and toxic gases have a way of going places  
21 where you don't predict. And the next thing you know  
22 you've got to put on an SCBA that you didn't assume  
23 you were going to have to go get and put on. Another  
24 example why it might take a little longer than what

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you actually demonstrate, and so on. You can see  
2 there's a host of --

3 MEMBER SIEBER: There you go.

4 MEMBER WALLIS: All kinds of things can go  
5 wrong on the --

6 MR. KOLACZKOWSKI: Just like this.

7 CHAIRMAN ROSEN: With computers, for sure.

8 MR. KOLACZKOWSKI: There's a host of  
9 uncertainties. I want to drop to the bottom bullet.  
10 We felt that a lot of these uncertainties that  
11 remained, that weren't being addressed yet by the  
12 feasibility criteria, as what the time margin needed  
13 to address. And the issue is this: that these  
14 uncertainties, the remaining uncertainties, are not  
15 likely analyzed, nor are fully perhaps enveloped under  
16 the timeline criteria, unless we really get critical  
17 as to what -- how  $T_3$  is to be calculated.

18 And as I already indicated, you cannot  
19 always recreate in demonstrations under the  
20 demonstration criteria the actual conditions. You  
21 have to pretend to move the valve, because you can't  
22 really move it, because right now the plant is  
23 operating and you can't go close that valve. So you  
24 just have to pretend that you moved the valve as

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1       opposed to really moving it and find out that it's  
2       stuck.

3                   MEMBER WALLIS: So there's a real question  
4       about how people respond under stress. Do they take  
5       shorter time or longer time or --

6                   MR. KOLACZKOWSKI: That's this variability  
7       among humans.

8                   MEMBER WALLIS: Are things more likely to  
9       go wrong when you're under stress?

10                  MR.     KOLACZKOWSKI:           That's     this  
11       variability. You know, the crews are going to respond  
12       with some uncertainty, and to how much time this crew  
13       is going to take versus how much time some other crew  
14       is going to take, because we're humans and there's  
15       variability in how humans perform, especially under  
16       stressful conditions, say, of fires in the very next  
17       room compared to the place I have to perform the  
18       action.

19                  So considering all of that, going through  
20       the expert elicitation process, etcetera, what it all  
21       boiled down to was that it looked like a single time  
22       margin would, in fact, work -- that when you  
23       considered the range of the types of actions, that  
24       some where going to be preventive, some reactive, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 so on and so forth, all the issues that I talked about  
2 earlier.

3 And also, keep the rule simple -- so that  
4 we didn't end up with five different time margins that  
5 applied to five different conditions and now you would  
6 have to specify what those conditions were, and so on  
7 and so forth. It seemed as though with the range of  
8 time margins that the experts came up with that they  
9 were all around the recommended time margin that we're  
10 going to propose in a moment. And so we said, "Well,  
11 why don't we just stick with one time margin."

12 It is a percentage, which in a way is good  
13 because it scales with the number and complexity of  
14 the actions. If you only have to perform one action  
15 and it's very simple, you know what? It's probably  
16 not going to take you that long to perform it. And,  
17 therefore, the added time you're going to add per this  
18 time margin, because it is a percentage, is going to  
19 be still a small amount of total time. So it's not,  
20 if you will -- we don't think -- too overly burdensome  
21 on the licensee.

22 If, on the other hand, the action is very  
23 complex, it's going to take a long time, there's a lot  
24 of steps, and so on and so forth, yes, it's going to  
25 take a long time, but that's also, therefore, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 situation in which you probably need more margin,  
2 because more can go wrong. You might do a step out of  
3 sequence, you find out you've got to go back and redo  
4 something that you did incorrectly the first time,  
5 etcetera, and so forth. So we thought the percentage  
6 concept works very well, because it scales.

7 MEMBER WALLIS: How about the evolution of  
8 the scenario? I have a fire in Room X, and so I send  
9 people to do something in Room Y. And half an hour  
10 later I learn that the fire has now spread to Room Z,  
11 which changes what I might want to have done in  
12 Room Y. And it's an evolving situation. It's not as  
13 if you know exactly at some time everything you need  
14 to know. The information presumably arrives during  
15 this time while you're doing things. Is that --

16 MR. KOLACZKOWSKI: That is true.

17 MEMBER WALLIS: So how can you just sort  
18 of say it starts here and ends there?

19 MR. KOLACZKOWSKI: Well, like I said,  
20 that's a concept. I mean, we're trying --

21 MEMBER WALLIS: I know it's a concept.  
22 But, I mean, there's a reality there somewhere.

23 CHAIRMAN ROSEN: Well, me try the answer  
24 to that. If the fire spreads to Room Z in your  
25 scenario, Graham, there is a fire pre-plan for Room Z.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. KOLACZKOWSKI: That's correct.

2 CHAIRMAN ROSEN: And I think that then  
3 starts at that time when the operators --

4 MEMBER WALLIS: The clock starts.

5 CHAIRMAN ROSEN: The clock starts on  
6 Room Z.

7 MR. KOLACZKOWSKI: And you now diagnose  
8 you've got to do something because the fire has gone  
9 to Room Z, and eventually you're going to implement  
10 steps for Room Z.

11 MEMBER WALLIS: And it might change what  
12 you did in Room Y.

13 MR. KOLACZKOWSKI: It might change. It  
14 might change.

15 MEMBER WALLIS: But you're not worried  
16 about this, the cascading of things?

17 MR. KOLACZKOWSKI: No. Part of the  
18 actions will now be reactive. You have to react to  
19 the fact that you already put a valve in a position  
20 that now you want to put it back in the prior position  
21 or something, and you're just going to have to do  
22 that.

23 MR. GALLUCCI: This is Ray Gallucci. If  
24 you have a scenario that can become that complicated,  
25 you probably don't want to be taking manual actions.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 You'll probably want to fall back to one of the  
2 original protective measures. You've probably gone  
3 beyond the realm of manual action feasibility and  
4 reliability.

5 CHAIRMAN ROSEN: Well, that's drawing an  
6 a priori conclusion. I think to me that would come  
7 out of the analysis of Room Z, and now you're doing  
8 Room X -- taking Graham's scenario -- you're  
9 performing the actions in Room X, and that takes a  
10 certain amount of time and certain number of people  
11 and resources.

12 Someplace along that time, say halfway  
13 through, the fire spreads to Z, they have a new set of  
14 resources and time required, and it just may not be  
15 the people and the time anymore. And that would seem  
16 to me to come right out of the analysis of Room X or  
17 Room Z, which would then overlap or be on top of the  
18 earlier analysis at which point you would draw a  
19 conclusion.

20 But I wouldn't say a priori that you know  
21 the conclusion. I think the right process is  
22 envisioning that you just have to go do the analysis.

23 MEMBER WALLIS: But the -- from behind me,  
24 it's now being brought into the conversation that as  
25 a result of this analysis you might conclude that you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 should not allow manual actions for this type of  
2 event.

3 CHAIRMAN ROSEN: Well, yes. That's  
4 precisely the point of the analysis, I think, is to  
5 decide whether there were --

6 MEMBER WALLIS: Which is something we  
7 haven't really discussed yet.

8 CHAIRMAN ROSEN: -- are feasible and  
9 reliable. Just because you're doing the analysis  
10 doesn't mean that the manual action will show it's  
11 feasible and reliable. It quite likely will show the  
12 opposite.

13 MEMBER WALLIS: In that case, you would  
14 say you are not allowed to take this manual action.

15 CHAIRMAN ROSEN: Correct.

16 MEMBER WALLIS: You would do something  
17 else.

18 CHAIRMAN ROSEN: Exactly.

19 MEMBER WALLIS: Okay.

20 MEMBER SIEBER: On the other hand, it  
21 seems to me that the concepts in reacting to emergency  
22 situations or casualty situations are not all that  
23 complex for the operator. He has a series of things  
24 to do and some objectives to accomplish, basically  
25 which amount to cooling the core.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And so when I think about it, the chance  
2           that you would have to undo some manual action because  
3           of a further development of the fire casualty, is not  
4           very likely.

5           CHAIRMAN ROSEN: That's true. And I would  
6           -- before we caution -- I would caution you, before we  
7           run off and say that manual actions are not likely to  
8           be credited, that we all fly on airplanes and other --  
9           take other credit for manual actions, we wouldn't want  
10          to fly on an airplane without crew members who are  
11          trained to take manual actions.

12          In fact, the manual actions are -- can be  
13          very effective under emergency circumstances, and are  
14          relied on at a great deal -- in a great number of  
15          circumstances.

16          MEMBER SIEBER: Okay.

17          MR. KOLACZKOWSKI: The final two points I  
18          want to make are -- the last bullet on this slide.  
19          This is what the expert elicitation eventually  
20          recommended -- that 100 percent of the total  
21          demonstrated time be the time margin. So effectively  
22          what you're doing is taking the demonstrated time for  
23          the action or actions, doubling it, and then comparing  
24          to the  $T_3$  calculation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER SIEBER: Even if the time is short,  
2 where doubling it represents an additional minuscule  
3 period of time.

4                   MR. KOLACZKOWSKI: Yes. I mean, a lot of  
5 the very early actions usually have to do with things  
6 like PORV block valve protection, RCP pump seal  
7 protection, and some of those do have to be done in  
8 relatively short time. But they also -- the actions  
9 themselves, you know, including the diagnostic and  
10 implementation, may only take 10 or 15 minutes.

11                   So we are talking about, well, now you've  
12 got to add another 10 or 15 minutes, as if it took  
13 that long, and still hopefully show that -- that  
14 that's less than the time you have to have it done by.

15                   MEMBER SIEBER: Well, what I'm thinking  
16 about is that an action that takes one minute, so you  
17 double that, it's two minutes, and when you do that  
18 you say you're okay. But if you fail to do it or run  
19 into a difficulty, the chance that that one extra  
20 minute of margin will be achieved is small.

21                   MR. KOLACZKOWSKI: Okay. Well, just  
22 recognize, too, though, there's the diagnostic time in  
23 where, which will be added.

24                   MEMBER SIEBER: Right.

25                   MR. KOLACZKOWSKI: My last --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1                   MEMBER SIEBER: Well, there was a concept  
2 at one time where you were going to say that you  
3 either double it or take some fixed number, whichever  
4 is larger.

5                   MR. KOLACZKOWSKI: That is correct.

6                   Just as an aside -- and it's the last  
7 slide here, and then I think Alex and Dave want to  
8 make a point about the time margin. And this was just  
9 more coincidence than anything, but -- and also  
10 recognize that this was developed for a very different  
11 purpose. But I think, still, that the coincidence is  
12 kind of striking.

13                   In NEI-00-01, the Guidance for Post-Fire  
14 Safe Shutdown Analysis -- this is not quite a verbatim  
15 quote, but it's close -- there's a point at which  
16 you're screening out various actions and various  
17 scenarios and saying, "I don't have to analyze that."  
18 And as part of the process, there's a point in there  
19 where the instructions are to not screen, and during  
20 preliminary screening, situations involving operation  
21 actions where time available is short. That would be  
22 our  $T_3$ , less than one hour. And the estimated time to  
23 perform the action is greater than 50 percent of the  
24 available time.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           That implies that a factor of two is at  
2           least desirable between the estimated time to act and  
3           the available time to act, before deciding whether you  
4           can screen out that action or not. And it's just kind  
5           of a coincidence, and I think just striking, that in  
6           providing this guidance they felt like having a factor  
7           of two between the time it actually takes to perform  
8           and the available time is a good sort of rule of thumb  
9           to use before you decide whether you screen an action  
10          out or not.

11                   And the factor of two that we came up with  
12           in the time margin I just think is an interesting and  
13           striking coincidence.

14                   With that, I'll leave it with Dave and/or  
15           Alex, who I think wants to make a point, one final  
16           point about the time margin.

17                   CHAIRMAN ROSEN:   Okay.   You have four  
18           minutes to preserve the gains we've made this morning,  
19           or to fritter them away.

20                   MR. KLEIN:   I will -- I will meet the  
21           objective.

22                   As indicated by Suzie at the beginning of  
23           her introduction, we're going to put a series of  
24           questions in the proposed rule for public comment.  
25           One of these has to do with time margin.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           As you see up here -- I'm not going to  
2 read this to you -- but what I wanted to leave you  
3 with is the fact that the staff put together a time  
4 margin and a -- put a recommended value on that time  
5 margin -- on the time factor of two.

6           Now, that's a strawman. What we're saying  
7 is that that is not our final decision on this.  
8 That's why we've put a question out to -- to the  
9 stakeholders. We offered that number as our best  
10 estimate right now, and we are using that as a basis  
11 to obtain additional stakeholder feedback.

12           So we're asking a series of questions, and  
13 with the hope that we would be able to eventually come  
14 to an agreement with all stakeholders on this issue of  
15 the time margin and time factor.

16           That's all I have to say about that.

17           MEMBER WALLIS: It seems surprising to me  
18 that you are sort of at square one here, that there  
19 isn't any kind of established methodology already for  
20 this sort of thing. This must occur all the time.  
21 This is the kind of question that arises in many  
22 situations where people have to take time to take an  
23 action.

24           I'm astonished that there isn't some --  
25 something already that's standard in other industries

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 or something about human performance. You should be  
2 starting from square one, as if no one knows anything  
3 about this. And you're saying two might be good and  
4 -- there's nothing you can appeal to which is more  
5 substantial?

6 MR. KLEIN: I'll ask Ray to --

7 MR. GALLUCCI: This is Ray Gallucci again.  
8 That was a question that -- there was a fairly  
9 extensive literature search done at the beginning of  
10 the expert elicitation -- in preparation for the  
11 expert elicitations, and people were contacted who,  
12 you know, worked in industry as well through the  
13 members of the panel here. And except for that ANSI  
14 standard, which gave very crude, "Don't do anything  
15 outside the control room unless you have at least 30  
16 minutes," there was nothing established that we found.

17 MR. KLEIN: I have nothing more at this  
18 point.

19 CHAIRMAN ROSEN: Well, very good. Are we  
20 done with that subject?

21 MR. KLEIN: Yes.

22 CHAIRMAN ROSEN: Okay. We have -- it's 12  
23 minutes to the hour. We actually gained two more  
24 minutes on our program, so I'll -- and I said we were  
25 going to take 10 minutes? Oh, five minutes off the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 15-minute break. We have a 10-minute break from 2:48  
2 to 2:58.

3 (Whereupon, the proceedings in the  
4 foregoing matter went off the record at  
5 2:48 p.m. and went back on the record at  
6 2:58 p.m.)

7 CHAIRMAN ROSEN: We're back after the  
8 break.

9 Alex, please continue.

10 MR. KLEIN: Thank you. What I've put up  
11 on the slide here are some words, direct language  
12 from the draft text for the proposed rule and that's  
13 just to give you an indication of the issue with  
14 respect to detection and suppression that I'm going  
15 to talk with you about.

16 It provides the key words. You can see  
17 that what we're requiring is on the III.G.2(c-1) is  
18 the actual implementing words, if you will, for  
19 operator manual actions and the requirement,  
20 condition if you want to call it that or  
21 requirement, for the need of detection and  
22 suppression in the fire area.

23 What I want to make clear is, and we had  
24 some public comments on this with respect to the  
25 November 2003 Federal Register Notice where we had

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 published that requirement. Some of the  
2 stakeholders out there were under the impression  
3 that the detection and suppression was required in  
4 the area where the manual actions take place. The  
5 requirement is for detection and suppression to be  
6 in the area where the fire takes place. It's in the  
7 fire area. I wanted to make that clear.

8 What I want to do is I want to put up a  
9 picture for you to explain, I guess, the relationship  
10 between the proposed rule language under III.G.2(c-1)  
11 and the existing rule language that we have so that we  
12 can understand how manual actions and detection and  
13 suppression fits into the overall scheme of the rule  
14 itself.

15 So what you've got on the left-hand side  
16 of the picture is compliance under III.G.2(a) which is  
17 your three-hour fire barrier which is deemed to be  
18 robust and acceptable without the need for detection  
19 and suppression.

20 Then what we have under III.G.2(b) is the  
21 other compliance option of 20 feet of separation with  
22 no intervening combustibles with automatic suppression  
23 and fire detectors in the fire area. We have the very  
24 same thing for III.G.2(c) except that in lieu of 20

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 feet of separation we've got the one-hour fire  
2 barrier.

3 Now we're proposing under the rule to put  
4 in place an operator manual action with acceptance  
5 criteria under III.P which is a new paragraph in  
6 Appendix R. You can see that what we've put down is  
7 under the use of operator manual actions in the  
8 III.G.2(c-1), the requirement for automatic  
9 suppression systems and fire detectors. What we are  
10 trying to demonstrate in this picture is the  
11 consistency across the requirements under III.G.2.

12 CHAIRMAN ROSEN: Wouldn't it be more  
13 consistent to take away the requirements for automatic  
14 fire suppression and detection across the board if you  
15 think consistency is important? Take it away across  
16 the board you are even more consistent. In other  
17 words, you don't need automatic fire suppression or  
18 detection in any case if you can demonstrate that you  
19 can reliably and feasibly control the fire with  
20 operator manual actions.

21 MR. KLEIN: I believe that -- I'm trying  
22 to understand your question, Dr. Rosen.

23 CHAIRMAN ROSEN: I knew you'd have trouble  
24 with it. It's what I call a bounding question.

25 MR. KLEIN: Okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   CHAIRMAN ROSEN:  Are you suggesting that  
2                   to be consistent you need to put operator manual  
3                   actions in the column where you have fire suppression  
4                   system and fire detection and I'm saying, no, no.  To  
5                   be consistent you need to take it out entirely across  
6                   the board and rely only on analysis.  In other words,  
7                   now you don't have to have any fire suppression with  
8                   detection.

9                   You just have to say if you can show me  
10                  with or without a three-hour fire barrier, with a 20-  
11                  foot separation, without intervening combustibles or  
12                  across the board if you can show me that you can take  
13                  operator manual actions and meet our acceptance  
14                  criteria with reliability, then all of it is even.

15                  MR. KLEIN:  I understand what you're  
16                  saying.  I believe that one factor, and I will talk  
17                  about this in a moment, is the concept -- not the  
18                  concept but one of the cornerstones that we have with  
19                  respect to defense in depth.  Let me go to my next  
20                  slide.

21                  What I want to do -- there are a lot of  
22                  words on here but what I want to do is provide you a  
23                  little bit of historical background with respect to  
24                  why did the Commission back in 1980 when Appendix R

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 was formulated put in the requirement for suppression  
2 and detection in the rule.

3           You can see I've bolded some of the words  
4 here and this is with respect to the one-hour barrier.  
5 The rule states -- excuse me, the Federal Register  
6 Notice at the time states that, "The automatic  
7 suppressions required to ensure prompt and effective  
8 application of a suppression to a fire that could  
9 endanger shutdown capability." Of course, that also  
10 equates to the 20 feet of horizontal separation with  
11 no intervening combustibles.

12           The history of Appendix R back then, if  
13 you look at the original proposed Appendix R Federal  
14 Register Notice you'll note that there was no  
15 discussion of four one-hour fire barriers or three-  
16 hour fire barriers. The discussion revolved around  
17 fire coatings and discuss automatic suppression and  
18 detection as the primary means of protection for  
19 redundant trains in the fire area.

20           The staff at the time in the late '70s and  
21 before 1980 determined that fire coatings were not an  
22 adequate fire separation for redundant trains. They  
23 came back in 1980 and came out with the final rule  
24 where they issued the one-hour fire barrier with 20  
25 feet of separation in lieu of the fire codings.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The 1980 Federal Register Notice talks  
2 about what is the best fire protection that could be  
3 provided for redundant trains. Basically it comes  
4 down to that the best type of suppression -- excuse  
5 me, the best type of fire protection full redundant  
6 trains consisted of fire barriers. Basically if you  
7 go back to that diagram that I put up before is the  
8 left side of that picture, the three-hour fire  
9 barrier.

10           MEMBER WALLIS: Well, I think you would  
11 have real difficulty making anything other than very  
12 qualitative arguments that these three things, 20-foot  
13 separation, one-hour fire barrier, and operator manual  
14 actions were somehow equivalent.

15           MR. KLEIN: That's correct. We're not --

16           MEMBER WALLIS: You'll have great  
17 difficulty making any kind of argument on that.

18           MR. KLEIN: Dr. Wallis, we're not  
19 suggesting that they're equivalent.

20           MEMBER WALLIS: That's what your diagram  
21 is trying to imply, that there is some equivalence.

22           MR. KLEIN: It implies equivalency but  
23 we're not suggesting that they are equivalent.

24           MEMBER WALLIS: You're just legislating  
25 it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           CHAIRMAN ROSEN:    Yes, I think it is  
2 legislated.  If you go back to the prior slide where  
3 you talk about -- you quote rather what's in the  
4 Federal Register for the technical basis for barriers,  
5 that they are inherently reliable.  I think those  
6 words are well put.  They are inherently reliable but  
7 they have come to mean something else.  Would you go  
8 back to it?  I want to focus on those words.

9           MR. KLEIN:  I'm sorry.  Which words --  
10 which slide are you on, sir?

11          CHAIRMAN ROSEN:  Twenty-eight.

12          MR. KLEIN:  Twenty-eight.  Okay.  This one  
13 right here.

14          CHAIRMAN ROSEN:  They have come to mean  
15 something else other than inherently reliable.  The  
16 way we use them they have come to mean perfect.  
17 Inherently reliable for three-hour fire barrier we  
18 basically think it's not going to be pierced.

19          MEMBER WALLIS:  For three hours.

20          CHAIRMAN ROSEN:  For three hours.  In  
21 fact, that isn't true.  We know that barrier do get  
22 pierced.  They are not perfect.  They have seals in  
23 them and so on.  We've had experience to know that  
24 they are like everything else.  They have a percentage  
25 reliability.  Now, granted it's high but it isn't 100

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 percent and that's just the point I want to leave you  
2 with.

3 MR. KLEIN: I understand. Thank you. To  
4 clarify your comment with respect to penetration seals  
5 and so forth, the requirement is that if a licensee  
6 were to penetrate a three-hour fire barrier, the  
7 penetration seals that that licensee puts in place has  
8 to meet the same fire resistant rating.

9 CHAIRMAN ROSEN: And those seals are also  
10 inherently reliable but they are not perfect.

11 MR. KLEIN: Correct. That's true. We  
12 accept that. The rationale for why the staff has  
13 proposed to put in fire detectors and automatic  
14 suppression systems under III.G.2(c-1), as stated  
15 previously a three-hour barrier is considered an  
16 acceptable fire protection feature without detection  
17 and suppression.

18 If we consider operator manual actions as  
19 providing reasonable assurance at a level comparable  
20 to three hours where we don't put in suppression and  
21 detection, then basically what we are saying is that  
22 the operator manual action by itself is a sufficient  
23 level -- provides a sufficient level of defense and  
24 depth under the no detection and suppression scenario.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   However, we know that experience indicates  
2                   that human reliability is not at a level provided by  
3                   three-hour barrier as providing the sole level of  
4                   defense and depth. As Dr. Rosen pointed out, the  
5                   reliability of a three-hour barrier although not 100  
6                   percent is considered robust enough by both the  
7                   nuclear industry and the non-nuclear industry to be  
8                   considered adequate for the protection of --

9                   CHAIRMAN ROSEN: But I think you would  
10                  agree that there's some risk --

11                  MR. KLEIN: Yes.

12                  CHAIRMAN ROSEN: -- that the three-hour  
13                  barrier will be penetrated before three hours. It's  
14                  low, perhaps even minimal but it is still there. It  
15                  isn't perfect. We're not dealing with impervious  
16                  barriers.

17                  MR. KLEIN: That is correct.

18                  CHAIRMAN ROSEN: I think I would point  
19                  out --

20                  MR. KLEIN: I agree.

21                  CHAIRMAN ROSEN: -- because I'm trying to  
22                  make a point that as you suggest in this material that  
23                  you sent to us, SECY-03-0100 makes the point that  
24                  operator manual actions if they are feasible the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 overall risk increase can be minimal so we are really  
2 dealing with the same thing.

3           Whether it's a three-hour barrier or an  
4 operator action, there is some -- for a feasible  
5 operation some of the operator manual actions that may  
6 be considered will have minimal risk increase just as  
7 penetration of the three-hour barrier is a minimal  
8 risk. It's a low probability event. I'm trying to  
9 put this thing on some sort of risk continuum rather  
10 than this is sacred and this is not. Therefore, we  
11 require this for the sacred things and things that are  
12 non-sacred we'll think about.

13           MR. GALLUCCI: This is Ray Gallucci. If  
14 the three-hour barrier has a certain unreliability,  
15 the one-hour barrier would have a higher  
16 unreliability. If you were to remove detection  
17 suppression across the board, you would effectively be  
18 saying three-hour barrier equals one-hour barrier  
19 equals 20-foot separation.

20           I don't think that because of the relative  
21 strengths of the different conditions whether they --  
22 although we call it implied equivalencies, I don't  
23 think that will be a valid statement. Similarly with  
24 the operator manual actions, I don't believe that in  
25 the case where you are dealing with the deterministic

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 rule where you are not performing HRA that you would  
2 want to go in and try to cover all cases by saying  
3 that the reliability based on operator manual actions  
4 is going to be comparable to a three-hour barrier  
5 without some sort of defense and depth attached to it.

6 CHAIRMAN ROSEN: Well, I can think of  
7 circumstances into which you would prefer to have  
8 feasible and reliable operator manual actions rather  
9 than the three-hour barrier.

10 MR. GALLUCCI: Yes, I agree and those are  
11 the types of cases that would be handled in the Reg  
12 Guide 1.174 exemption process or the 50.48(c) where  
13 you would try to -- where you would be relieved of  
14 having to follow deterministic criteria but you are  
15 still faced with within the limits of III.G.2(c) or  
16 III.G.2, which is where this rulemaking is focused,  
17 you don't have that freedom to just --

18 CHAIRMAN ROSEN: You're talking about  
19 compliance and I'm not talking about compliance. At  
20 the moment what I'm talking about is a conceptual  
21 argument and a discussion in an open forum where we  
22 are talking about risk, not about compliance.  
23 Compliance is required. That is what compliance is.  
24 It's a rule.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Just in talking about it in rationale  
2 terms one can say we are dealing with a risk  
3 continuum. If an operator manual action is feasible  
4 and reliable, it may be equivalent to a three-hour  
5 fire barrier or better. I think you agreed under  
6 certain circumstances.

7           MR. GALLUCCI:           Under certain  
8 circumstances, yes.

9           CHAIRMAN ROSEN: I'm leaving out the  
10 question. Don't be confused that I'm not confused,  
11 Ray, about what compliance is and we shouldn't be  
12 confused.

13           MEMBER SIEBER: I think the difficulty is  
14 we don't have risk information so it's hard to make  
15 these categorical decisions, how much is good enough.  
16 In the deterministic world you try to balance what you  
17 apply to the given situation by the logic of the rule  
18 that you put forward since you don't have risk  
19 information.

20           To me the ultimate solution to this kind  
21 of problem is to develop the risk information and make  
22 the rule risk informed. At this point in the world  
23 that's not feasible in a short period of time so we  
24 are sort of stuck with this layered approach and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 assumed equivalency even though you can't show what  
2 that equivalency is.

3 I think it's difficult to deny the fact  
4 that you do need some kind of defense-in-depth because  
5 you can't say for certain that every protection  
6 feature whether it's human action or a barrier or  
7 separation distance is going to be effective. You  
8 don't know how effective it's going to be. It says to  
9 me that what the staff is doing is not unreasonable.

10 MR. KLEIN: Okay. Let me continue on. We  
11 talked about the defense-in-depth which is my third  
12 bullet here. I'll put up a slide here in a moment  
13 about defense-in-depth. But the last bullet here,  
14 enhances the ability of the operator to achieve and  
15 maintain safe shutdown from a unaffected area through  
16 the prompt and effective application of fire  
17 suppressant, those are the same types of words that  
18 were used -- the prompt and effective application of  
19 fire suppressant are the same types of words that the  
20 original Appendix R FRN used.

21 Now, the reason why the staff feels that  
22 it could enhance the ability of the operator although  
23 he might be conducting that manual action outside of  
24 the area where the fire takes place is because we  
25 believe that the addition of a detection and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 suppression system would either delay or prevent, for  
2 example, spurious actuation caused by a fire inside  
3 that room that contains the redundant trains.

4 So it enhances their ability to perform  
5 the feasible and reliable manual actions by providing  
6 additional time as opposed to assuming that without a  
7 suppression system in there it would take -- the time  
8 line would take its natural progression as Ellen had  
9 talked about before with respect to fire development  
10 and so forth. In other words, with a fire detection  
11 and automatic suppression system you interrupt that  
12 fire time line if you will.

13 CHAIRMAN ROSEN: Now, Alex, is that the  
14 best the staff can do in terms of a reference, this  
15 reference on slide 28, to the Federal Register Notice  
16 that is now 24 years old? Is that the best reference  
17 in the regulatory body for the preference for fire  
18 barriers or is there something better? Did you just  
19 pull that out of your hat because you happened to be  
20 looking at that Federal Register?

21 MR. KLEIN: No. Actually --

22 CHAIRMAN ROSEN: I would recommend there  
23 are other things to do besides reading 24-year-old  
24 Federal Registers.

25 MR. KLEIN: And I agree with you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Don't you say them?

2 MR. KLEIN: The reason why I pulled this  
3 one out is because I wanted to maintain consistency  
4 with respect to Appendix R. We're talking about  
5 making a revision to a deterministic rule III.G.2.  
6 What I want to do is go back into the history of  
7 III.G.2.

8 CHAIRMAN ROSEN: But hasn't this been  
9 updated in any sense and codified in the regulation as  
10 to the staff's preference or the Commission's  
11 preference for fire barriers after that 24-year-old  
12 Federal Register notice? By the way, Federal Register  
13 notice, notwithstanding the fact that it's in the  
14 Federal Register which is important but it's not a  
15 regulation.

16 MR. KLEIN: That's correct. I understand  
17 what you're saying. However --

18 CHAIRMAN ROSEN: It's not even a reg  
19 guide.

20 MR. KLEIN: We have not revised any of our  
21 regulations with respect to fire protection in three-  
22 hour barriers or fire separation.

23 CHAIRMAN ROSEN: You understand my  
24 difficulty is that quoting a 24-year-old Federal

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Register notice to me as gospel leaves me somewhat  
2 unimpressed.

3 MEMBER WALLIS: Quote a ACRS letter and it  
4 might make more sense.

5 MR. KLEIN: Yes. My attempt here is to  
6 provide some historical background. To directly  
7 answer your question with respect to has the staff  
8 done anything more with respect to regulations, the  
9 only change that we've made to our regulations since  
10 the original issue of Appendix R in 1980 was change  
11 the penetration seal requirement. I think the  
12 original wording was that it be noncombustible. That  
13 was changed.

14 Of course, the recent rule change under  
15 50.48(c) which allowed fire protection to be risk  
16 informed. Other than that, I cannot point to any  
17 other regulation that we've done. We've lived with  
18 this rule now, as you say, for over 20 years so that  
19 is the best that I can do at this point.

20 MR. WEERAKKODY: Chairman Rosen, are you  
21 asking us whether we have anything more recent and  
22 substantial than a 24-year-old notice as the basis  
23 when we grouped or when we said we need detention and  
24 suppression with manual actions or are we solely  
25 relying on something like this as the basis because

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 based on your earlier questions with respect to some  
2 probability of a three-hour fire barrier? I just  
3 wanted to make sure that we convey --

4 MEMBER WALLIS: I guess we should move on.  
5 We have established that you have nothing else to go  
6 on.

7 MR. WEERAKKODY: No, we do.

8 MEMBER WALLIS: Oh, you do?

9 MR. WEERAKKODY: The sole basis of  
10 including suppression and detection as condition for  
11 manual action is not 24-year-old information even  
12 based on the current understanding of HRAs which is  
13 well known that the human failure probabilities are in  
14 general you have .1s, .2s, you know, that type of  
15 numbers unless you have very highly liable ones like  
16 Kevin pointed out. In some situations you could have  
17 highly liable ones.

18 CHAIRMAN ROSEN: And the ones I pointed  
19 out.

20 MR. WEERAKKODY: So it's possible that  
21 there could be a whole spectrum of those things. The  
22 challenge is the regulation has to color the whole  
23 spectrum and we recognize that some of these numbers  
24 could be relatively high. In judging whether to  
25 require detection and suppression we had to make a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 judgment as to whether the manual actions would come  
2 closer in the liability to the three-hour passive  
3 barrier or the other two. We based on our best  
4 judgment grouped with the other two.

5 CHAIRMAN ROSEN: Well, Sunil, I've  
6 achieved my objective which was to establish that you  
7 have nothing in the regulations newer than 24 years  
8 old that was in the Federal Register Notice that  
9 basically puts the public and the industry on notice  
10 that fire barriers are inherently reliable so that's  
11 the -- and implies in that Federal Register Notice, I  
12 guess, that they are preferable.

13 Maybe more than implies. It even says  
14 that. The best fire protection for redundant train.  
15 Well, I'm not so sure that is always true. I made  
16 that point a few times so pardon me if I quarrel with  
17 the Federal Register.

18 MR. KLEIN: Okay. Let me go on to the  
19 next slide where I talk about defense in depth. As  
20 Sunil just mentioned, with respect to the reliability  
21 of an operator manual action, despite the fact that  
22 there might be some specific situations where the  
23 reliability might be .01, as Sunil indicated, there is  
24 a whole spectrum out there.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           What we are attempting to do in addition  
2 to what I stated before is in keeping with one of  
3 these corner stones and defense-in-depth is to meet  
4 that second bullet which is to detect, rapidly control  
5 and extinguish promptly those fires that do occur. If  
6 you look at the way III.G.2(a), (b), and (c) are  
7 structured today, especially (b) and (c), we have  
8 suppression and detection in there as an additional  
9 layer of defense-in-depth.

10           That would ultimately meet that third  
11 bullet for providing protection for structures and  
12 systems and so forth where fire is not promptly  
13 extinguished will not prevent the safe shutdown of the  
14 plant.

15           CHAIRMAN ROSEN: You'll understand that  
16 those of us who have been in debates other than fire  
17 protection about risk analysis have heard the refrain  
18 often in those debates that the reason one can't use  
19 risk information in a given circumstance is that it  
20 doesn't preserve defense-in-depth. We are also  
21 unimpressed with that argument in general.

22           It needs to be flushed out much more  
23 specifically in order to be given the credence that  
24 the user of the argument likes to ascribe to it. It's  
25 almost uttered as if it were a religious mantra. In

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 fact, it's only a concept so understand that when  
2 we're talking about the use of risk, which is risk  
3 analysis in this case, it's surrogate risk analysis,  
4 time origin approach, the utterance of the word  
5 defense-in-depth has less impact on some of us than on  
6 others.

7 MR. GALLUCCI: This is Ray Gallucci. I  
8 attempted to do something at the fire protection forum  
9 along those lines where I attempted to in my mind --  
10 I'm a risk analyst. With your deterministic analysis  
11 you are dealing with point estimates. When you get  
12 into defense-in-depth to me is somewhat of a  
13 deterministic way to look at uncertainty.

14 When you talk about defense-in-depth you  
15 are essentially trying in the deterministic world to  
16 put a pseudo quantitative value on the uncertainty.  
17 I think if you do a pure risk analysis when you  
18 quantify the uncertainty and if you are comfortable  
19 that you've accounted for it very well, that is a way  
20 of accounting for defense-in-depth in a risk  
21 calculation.

22 Unfortunately, unless we deal strictly in  
23 worse case analyses I think in a deterministic world  
24 you look for a surrogate for this type of uncertainty.  
25 I think in my mind that is the way I view the defense-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 in-depth concept as a uncertainty type, as a way to  
2 handle uncertainty in a deterministic world.

3 CHAIRMAN ROSEN: I applaud you. I think  
4 that is precisely true. What we're talking about here  
5 when we talk about uncertainty analysis is using  
6 uncertainty analysis to tell you when defense-in-depth  
7 is appropriate. If you have a lot of uncertainty,  
8 then defense-in-depth is really a very important  
9 concept and you can trade off uncertainty in defense-  
10 in-depth.

11 If you have no uncertainty, and I can't  
12 imagine such a circumstance, but if you have none,  
13 then defense-in-depth isn't needed. So in the cases  
14 where you have a very easy operator action and highly  
15 reliable, one could argue there's not much defense-in-  
16 depth needed. I think that's helpful.

17 MEMBER WALLIS: It depends what's in  
18 depth. If you say that you first try to put the fire  
19 out with the suppression system, if it doesn't work  
20 your defense is the operators can fix things up. If  
21 the operators are the defense-in-depth, that's one  
22 thing but if the operators are the primary response  
23 and the automatic suppression system is the defense-  
24 in-depth, then you have a different rationale.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I think the way he's looking at it is the  
2 automatic suppression system is the primary response  
3 and the operator action is the defense-in-depth. If  
4 it doesn't work, the operators can do something.

5 CHAIRMAN ROSEN: That's one way to look at  
6 it.

7 MR. KLEIN: I certainly agree with you,  
8 Dr. Rosen, that there are some specific situations  
9 where the requirement, if you will, for suppression  
10 and detection might be over and above because you've  
11 got a highly reliable operator manual action.

12 MEMBER WALLIS: You'd have difficulty  
13 explaining to the public why if you have a fire you  
14 shouldn't try to suppress it.

15 MR. KLEIN: I'm sorry?

16 MEMBER WALLIS: I think you'd have  
17 difficulty explaining to the public why if you have a  
18 fire you should not detect and suppress it, or at  
19 least try to.

20 MR. KLEIN: That's correct.

21 MEMBER WALLIS: You should just leave it  
22 and wait for the operators to do something doesn't  
23 sound like a very rational thing to do.

24 CHAIRMAN ROSEN: That's not what I'm  
25 suggesting at all.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER WALLIS: Aren't you? You're saying  
2 do away with suppression and detection. Isn't that  
3 what you're saying?

4                   CHAIRMAN ROSEN: No, no, no.

5                   MEMBER WALLIS: Isn't that what you're  
6 saying?

7                   CHAIRMAN ROSEN: I'm saying credit manual  
8 action.

9                   MEMBER WALLIS: Well, let's move to the  
10 next thing. This one here.

11                  MR. KLEIN: This is another picture if --

12                  MEMBER WALLIS: I thought you were  
13 applying this, that you do away with the suppression.

14                  MR. KLEIN: This shows the scenario where  
15 there is no automatic suppression in the scenario  
16 where you have operator manual actions with acceptance  
17 criteria. Again, we understand this is a picture and,  
18 again, with implied equivalencies that there is some  
19 sort of implied gap there in terms of protection.

20                         One thing I want to point out is that in  
21 all of the current sections under III.G.2(a), (b), and  
22 (c) we have fire protection features in place. the  
23 three-hour fire barrier on the III.G.2(a) is a passive  
24 fire protection feature. On the III.G.2(b) we have a  
25 combination of passive and active fire protection

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 features. On the III.G.2(c) we have a combination of  
2 passive and active fire protection features.

3 Now, if you move to the fourth column on  
4 the right on the III.G.2(c) with no suppression, what  
5 you're left with basically is no fire protection  
6 feature. You are left with an operator manual action.

7 MEMBER WALLIS: That was sort of my point.  
8 You would be doing away with any response to the fire  
9 at all and just relying on the operator.

10 MEMBER SIEBER: Well, even worse than that  
11 if you are relying on the one-hour fire barrier to be  
12 detection and suppression, then that one-hour fire  
13 barrier is going to fail.

14 MR. KLEIN: That's right.

15 MEMBER WALLIS: So we might go along with  
16 your argument. It's a qualitative way.

17 MR. KLEIN: It's a qualitative argument.  
18 That's right. Because this issue is somewhat  
19 controversial with the stakeholders, what we've  
20 attempted to do is to ask a question in the FRN to  
21 promote some discussion and feedback from our  
22 stakeholders.

23 Because the staff is of the opinion that  
24 suppression and detection should be a requirement  
25 under operator manual actions, we framed the question

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in such a way that it asked the question with respect  
2 to automatic versus fixed fire suppression because  
3 there's a difference. On the III.G.2 the requirement  
4 calls for automatic suppression.

5 If you look under III.G.3, which is an  
6 alternative to III.G.2 where you can't adequately  
7 protect your redundant trains, the licensee then has  
8 the option of putting in an alternate shutdown system.  
9 That under III.G.3 requires a fixed suppression system  
10 with fire detectors. So we've asked the question with  
11 respect to --

12 MEMBER WALLIS: What's the difference? A  
13 fixed one someone has to open a valve?

14 MR. KLEIN: That's correct. In a fixed  
15 suppression system the piping network is in place.  
16 The automatic actuation feature is not there. Some  
17 human error action is required.

18 CHAIRMAN ROSEN: Why don't you ask the  
19 question more broadly rather than just say because we  
20 believe that automatic suppression and detection is  
21 required with III.G.2?

22 MEMBER WALLIS: Why would you ever want it  
23 to be fixed because they are automatic, aren't they?  
24 Are there sprinklers that are not automatic?

25 MR. KLEIN: Yes, there are some.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER SIEBER: There are nozzles in there  
2 that don't --

3                   MEMBER WALLIS: Why would you ever want it  
4 to be fixed and not automatic?

5                   MR. KLEIN: There are some systems --  
6 well, we don't want it that way. The proposed rule  
7 language right now calls for automatic suppression.  
8 We are asking for --

9                   CHAIRMAN ROSEN: I applaud your  
10 willingness to ask the question about III.G.3 but I am  
11 suspicious that you don't want to ask it about  
12 III.G.2. Why don't you ask the question about III.G.2  
13 as well?

14                   MR. KLEIN: I suspect, Dr. Rosen, that we  
15 are going to get comments regardless of how we ask the  
16 question.

17                   CHAIRMAN ROSEN: I understand but aren't  
18 you trying to fix the game by the questions you ask?  
19 Kind of like these polls they take about who's going  
20 to win.

21                   MR. KLEIN: Not necessarily. I think that  
22 the intent here, the reason why we framed the question  
23 the way we did is because the technical staff's belief  
24 at this point for the proposed rule --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN ROSEN: I know what the technical  
2 staff believes but aren't they willing to test that  
3 belief at least by asking the question? Are they that  
4 timid?

5 MR. KLEIN: We're not timid.

6 MEMBER SIEBER: We may not be at that  
7 stage yet but in the process. You put out your  
8 hypothesis. You get comments from everybody and then  
9 the analysis to decide where it is you want to be  
10 follows those two things. We are not to that point  
11 yet as I understand it.

12 MEMBER WALLIS: You're simply asking  
13 people to respond. That's all you're doing.

14 CHAIRMAN ROSEN: But you have to ask the  
15 broader question in order to get a fair response.

16 MEMBER SIEBER: Well, the strawman is out  
17 there no doubt.

18 CHAIRMAN ROSEN: Who knows? You might get  
19 a response that people agree with your point of view.  
20 You might even get that from ACRS. Or at least added  
21 comments.

22 MR. KLEIN: We're hoping for a positive  
23 response from you.

24 At this point that ends my discussion with  
25 respect to suppression and detection. What I would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 like to do is to pass it over to Leslie who will talk  
2 about the reg analysis. Are we on time?

3 CHAIRMAN ROSEN: That's really wonderful  
4 actually. Twelve minutes more ahead so I appreciate  
5 that.

6 MEMBER WALLIS: Let NEI spend the time on  
7 a multitude of slides.

8 CHAIRMAN ROSEN: Leslie.

9 MEMBER WALLIS: I'm really interested in  
10 what a reactor universe is. This is where the  
11 reactors have taken over the universe?

12 MS. KERR: I play a lot of video games.  
13 My name is Leslie Kerr and this is my first time in  
14 front of the ACRS so thank you for having me. I'm  
15 going to present the results, or a summary of the  
16 results of operator manual actions regulatory  
17 analysis.

18 We'll look at the alternatives that were  
19 considered in the reg analysis. We'll also look at  
20 some of the baselines that were compared to the  
21 alternatives. We'll look at the reactor universe  
22 which is just the universe of reactors that we think  
23 could be affected by the alternatives.

24 We'll look at the quantitative cost and  
25 savings associated with the alternatives. Finally

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 we'll compare the cost and savings and also bring in  
2 the qualitative attributes that could be affected by  
3 the proposed rule. Finally, I will present the  
4 preferred alternative in the reg analysis.

5 The alternatives are the no action or no  
6 rulemaking alternative. Under this alternative manual  
7 actions for Part 50, Appendix R III.G.2 would not be  
8 permitted without a 50.12 exemption. The no action  
9 alternative would require any licensees who are not in  
10 compliance to come immediately into compliance with  
11 current regulations or submit a 50.12 regulation --  
12 exemption, I'm sorry, if they are not in compliance.  
13 The regulatory guidance --

14 MEMBER WALLIS: Now, I understand they  
15 haven't been doing that for 15 years and now you are  
16 going to suddenly require it?

17 MEMBER SIEBER: Some have, some haven't.

18 MS. KERR: We don't believe it's -- we're  
19 not sure.

20 MEMBER WALLIS: Does "no action" mean  
21 doing business as usual or does it mean enforcing the  
22 rule as it stands?

23 MS. KERR: The latter, enforcing the rule  
24 as it stands.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER WALLIS: So it's not really no  
2 action. It's really believing what you said before  
3 and making it happen.

4                   MS. KERR: Right. Under our regulatory  
5 analysis guidelines we cannot give credit for coming  
6 into compliance with an existing rule so no action  
7 means they would come into compliance with all  
8 existing rules and regulations.

9                   The regulatory guidance alternative is  
10 similar to the no rulemaking alternative except we  
11 would put out a new regulatory guidance which would  
12 clarify the current rules as there seems to have been  
13 some confusion following the Appendix R III.G.2 rules.

14                   MEMBER WALLIS: Was the confusion yours or  
15 the licensee?

16                   MS. KERR: Perhaps both.

17                   MEMBER WALLIS: Conclusion and confusion.

18                   CHAIRMAN ROSEN: More likely confusion  
19 than collusion.

20                   MS. KERR: The proposed rule alternative  
21 is what we've been talking about today for the most  
22 part which is to revise the existing regulations to  
23 allow III.G.2 manual actions that meet the generic  
24 acceptance criteria that have been presented.

25                   Documentation of those manual actions

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 would be required. 50.12 exemptions would still be  
2 required for III.G.2 manual actions that do not meet  
3 these criteria.

4 In accordance with the NRC's regulatory  
5 analysis guidelines the baseline -- the main baseline  
6 is required and that assumes that there is full  
7 compliance with existing regulations. We felt that  
8 this may not be the most realistic scenario so we did  
9 two industry practices baseline. Actually, this slide  
10 is a little off.

11 We did one industry practices baseline  
12 with interim enforcement discretion and we did one  
13 without interim enforcement discretion. Given that  
14 interim enforcement discretion is not in place today,  
15 that is the most realistic baseline and that is what  
16 I'm presenting as a comparison to the alternatives  
17 today.

18 Here is the reactor universe. The total  
19 universe that could be affected by our alternatives  
20 are the 52 pre-January 1, 1979 power reactors. We  
21 split these reactors into present and future actions  
22 that they could possibly take. Of the 52 total  
23 reactors we assumed that 14 reactors could take  
24 immediate advantage of the proposed generic acceptance

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 criteria and document compliance with those criteria  
2 rather than come into compliance with current III.G.2.

3 MEMBER WALLIS: That would mean that the  
4 others would not?

5 MS. KERR: Right.

6 MEMBER WALLIS: The 38 or something would  
7 not be able to meet the criteria?

8 MS. KERR: We also split it. We assumed  
9 some were already in compliance with III.G.2 today as  
10 it stands. Some would still have to submit 50.12  
11 exemption request.

12 MEMBER SIEBER: And the third category you  
13 would somewhat have to modify the plant.

14 MS. KERR: That's correct. We assume some  
15 would have to modify their plants.

16 MEMBER SIEBER: Because they can't meet  
17 even the new rule.

18 MS. KERR: Correct. The future looking  
19 ahead after the immediate affect of the proposed rule  
20 we assume that five reactors per year over the next 30  
21 years will document manual actions rather than submit  
22 an exemption request or make plant modifications so  
23 they can actually build III.G.2 manual actions into  
24 their plans in the future.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN ROSEN: Where do we get these 150  
2 reactors?

3 MS. KERR: I'm sorry?

4 CHAIRMAN ROSEN: Oh, I see. Five reactors  
5 per year over the next 30 years. You multiplied the  
6 two and said there must be 150 reactors.

7 MS. KERR: Oh.

8 CHAIRMAN ROSEN: I guess you're saying  
9 that some reactors may do it more than once.

10 MS. KERR: Correct.

11 MEMBER WALLIS: I don't understand this.  
12 Do they have any option or they are not in compliance?  
13 Don't they have to do something?

14 MEMBER SIEBER: They have to do something.

15 MEMBER WALLIS: So how can they wait?

16 MS. KERR: Well, the future includes all  
17 the reactors. It includes the total universe reactor  
18 as they go forward and make plans for their plants in  
19 the future. It could even be some of the 14 reactors  
20 that take immediate action could in the future take  
21 advantage again of the --

22 MEMBER WALLIS: The purpose of the rule is  
23 to make sure they comply with regulations. Isn't it?

24 MS. KERR: Correct.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MEMBER WALLIS: So doesn't it go into  
2 effect right away? Don't they have to then comply?  
3 They can't wait for 30 years to comply.

4           MS. KERR: Right. And this is not waiting  
5 for 30 years. These are to deal with new issues that  
6 come up in the future.

7           MEMBER WALLIS: If new issues come up,  
8 they will take down the fire barriers or something  
9 and, therefore, they will have to --

10           MEMBER SIEBER: Or discover that the fire  
11 barriers aren't what they thought they were.

12           MEMBER WALLIS: The barriers will decay in  
13 some way.

14           MEMBER SIEBER: Or some test will come out  
15 and say, "Gee, this isn't as good as we thought."

16           MS. KERR: Or technology could change.

17           MEMBER WALLIS: Fires will get hotter.

18           MEMBER SIEBER: Or they discover a cable  
19 in the wrong place.

20           MS. KERR: Correct. Now, we'll talk about  
21 the cost and savings associated with the proposed  
22 rule.

23           MEMBER WALLIS: I thought the objective  
24 here was to bring everyone into compliance, not to  
25 make assumptions about who's going to do something.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Aren't you trying to solve the problem of  
2 noncompliance? Isn't that what you're trying to do?

3 MS. KERR: I believe we are trying to  
4 that, but also account for the fact that this rule has  
5 benefits in the future as well.

6 MEMBER WALLIS: Well, I have a lot of  
7 trouble with almost everything the staff presents and  
8 the staff is presenting sort of alternative solutions  
9 without telling us very clearly up front what the  
10 problem is and what would be an acceptable solution so  
11 we get lost as to what you're proposing is going to  
12 solve the problem because we've lost track of what the  
13 problem was.

14 Dave, are you going to pull it all  
15 together at the end and say, "This is the problem we  
16 face today and this is why what we're doing is going  
17 to solve it. Here is going to be an acceptable  
18 solution and this is when it's going to be achieved."

19 MR. GALLUCCI: This is Ray Gallucci. let  
20 me offer that I went through the reg analysis and  
21 tried to do a simplification as well for myself. I  
22 think a lot of these questions, the nature of the reg  
23 analysis requires that the baseline assume compliance  
24 so all the things that you would normally expect to be  
25 included in the reg analysis which is coming into

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 compliance has already been subsumed in the definition  
2 of the base case and that is an idiosyncrasy of the  
3 way these regulatory analyses are done.

4           One would have to -- in order to quantify  
5 those, you would have to assume noncompliance and then  
6 you would basically have to do a baseline that is not  
7 the baseline that is normally in these reg analyses.  
8 This is a quote in the reg analyses that you have to  
9 -- the NUREG/BR says you have to assume all state and  
10 federal regulations are being followed. Leslie,  
11 correct me if I'm wrong, but because of the nature of  
12 this anything the plants would have done as a result  
13 of no rulemaking to come into compliance being either  
14 they submitted exemptions or they did plant  
15 modifications is not costed when you do the delta  
16 calculation. It's an idiosyncrasy of the way these  
17 analyses are done.

18           MS. KERR: It's not costed into the mean  
19 baseline but that's why we went to an industry  
20 practice baseline so that we could assume that some  
21 plants are currently out of compliance so we can  
22 capture the benefits of coming into compliance, the  
23 cost and the benefits, as well as the cost and  
24 benefits going into the future. I believe we are  
25 solving the problem.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MEMBER WALLIS: Why are you doing cost and  
2 benefits if they already are not meeting regulations?

3 MS. KERR: I'm sorry?

4 MEMBER WALLIS: Why are you doing cost  
5 benefit analysis if they are not meeting regulations?  
6 It's not a compliance issue? It's something else like  
7 a back-fit type issue or what is it?

8 MR. THOMAS: Maybe I can take this one.  
9 Brian Thomas, Section Chief of the Reg Analysis  
10 Section, NRR. The policy is that for any generic  
11 action, be it a generic letter, be it a proposed  
12 modified regulation, you have to establish some sort  
13 of a cost benefit benchmark from which the Commission  
14 would make a judgment as to the feasibility of going  
15 forward with that action.

16 Yes, technically speak we have determined  
17 that licensees are not in compliance with the  
18 regulation. That is the fundamental problem and so we  
19 are trying to make them fix that problem. That's  
20 basically the technical issue.

21 MEMBER WALLIS: It seems to me there are  
22 two things. If it's a compliance issue, they are not  
23 playing the law, then presume that they have to obey  
24 the law. If it's a question of how should we modify  
25 the law in some way, then you can look at cost and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 benefits but it seems to be very clear if they are not  
2 obeying the law, are you going to now modify the law  
3 so they can obey it? Is that what you're going to do?

4 MEMBER SIEBER: No.

5 MEMBER WALLIS: Would you mind just  
6 talking in layman's terms in some way here?

7 MEMBER SIEBER: I think a way to look at  
8 it one of the alternatives is to not have a proposed  
9 rule and to send in the inspectors.

10 MEMBER WALLIS: Just make them obey the  
11 rule.

12 MEMBER SIEBER: There will be lost of  
13 enforcement actions and so forth and that has a cost  
14 associated with it.

15 MR. QUALLS: Well, it's not just that,  
16 sir. It's the fact that -- my name is Phil Qualls.  
17 I'm an ex-inspector out of Region V. I work at NRR  
18 these days, fire protection engineer. It's not just  
19 the fact they are in noncompliance, yes. There are  
20 missing barriers where they are using manual actions.  
21 What we are attempting to do is codify the existing  
22 practice where we were approving exemption requests  
23 for a lot of these manual actions throughout the '80s.

24 MEMBER SIEBER: To make it more efficient.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. QUALLS: To make it more efficient and  
2 to allow manual actions that can be performed. In  
3 many cases barriers will probably still have to be  
4 installed. But from what I've heard from some  
5 industry personnel in recent months, I queried one  
6 recently and he told me it cost at his facility to  
7 install a thermal-lag barrier it cost them something  
8 like \$5,000 including the engineering work per linear  
9 foot.

10 MEMBER SIEBER: That's about right.

11 MR. QUALLS: When you start looking at  
12 those kind of numbers, sometimes manual actions if  
13 they are feasible, performable, and safe are a very  
14 cost effective option and we are just trying to allow  
15 licensees the option of an additional option to  
16 perform a safe --

17 MEMBER WALLIS: This is like -- I'm trying  
18 to sort this out. I've got students drinking on  
19 campus. They are not in compliance with the law that  
20 says, "Thou shall not drink if you're under --

21 MEMBER SIEBER: Under 21.

22 MEMBER WALLIS: Under 21. And so I say,  
23 well, I want to codify the existing practice. I want  
24 to somehow twist the law so it lets them drink in the  
25 way they have been drinking.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MEMBER SIEBER: You want to issue a new  
2 birth certificate.

3           MEMBER WALLIS: Or I want to issue some  
4 sort of permission to drink as long as it's in a  
5 fraternity or as long as there is somebody there or  
6 something like that. Is that what you're doing?

7           MEMBER SIEBER: No.

8           MR. WEERAKKODY: I just want to clarify  
9 something. I think inadvertently some of the message  
10 we are conveying is not coming out right. What we are  
11 trying to do is when we recognize that based on our  
12 interpretation of the rule that some licensees are out  
13 of compliance and this didn't happen 15 years ago.

14           The manual actions were in place about 15  
15 years ago but it was only in about 2002 we confronted  
16 the issue and we realized that based on the position  
17 we took in 2002 there's a number of III.G.2 manual  
18 actions that are out of compliance. I just wanted to  
19 clarify that. It's not like we knew there were  
20 noncompliances 15 years ago.

21           Now, when we made that decision in 2002  
22 that based on the OGC and CID position that there are  
23 no compliance out there, we had a couple of choices in  
24 front of us. It was like a fork in the road. One  
25 choice was to tell the licensees that, "You guys

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 unless you ask our approval, send us exemption request  
2 and get us to reviews and approval those requests, you  
3 have a problem."

4 The other option was to convey to the  
5 licensees the criteria that we would use in our review  
6 process and then give them to the licensee through a  
7 rulemaking and get them to make that judgment. In  
8 2002 the decision was made that it's more efficient  
9 and it's more resource intensive to codify these  
10 criteria and convey to the industry so that they could  
11 comply. I just wanted to make that clear because the  
12 other route we could have taken in 2002 was to tell  
13 everybody to send us exemptions. Otherwise --

14 MEMBER WALLIS: So if I bring it into my  
15 world, the analogy of a student drinking is really  
16 raw. It's to extreme. It's more like the case of  
17 what students are allowed to use as references on  
18 take-home exams. You're not allowed to use any  
19 reference material.

20 They say, "Routinely we use the books that  
21 we used in the course." So we start saying, "Oh,  
22 well, that's not a bad thing. That will be okay. We  
23 really were permitting that by exemption." So you're  
24 clarifying these exemptions which are reasonable so  
25 you don't have exemptions all the time --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. THOMAS: That's correct.

2 MEMBER WALLIS: -- making it clear what  
3 the ground rules should be for what you're allowed to  
4 do --

5 MR. WEERAKKODY: Exactly.

6 MEMBER WALLIS: -- rather than looking at  
7 each case individually and say, "This student used 10  
8 books from so and so. That really is too many." It  
9 becomes so fuzzy that you are trying to make it clear.  
10 Is that what you're doing?

11 MR. THOMAS: If I can take that back to  
12 the discussion about safety earlier when we talked  
13 about maintaining safety, to some degree this rule is  
14 being put in place so that we would -- in a way it's  
15 a precautionary measure to preclude any further --  
16 well, to maintain safety, if you will, and to preclude  
17 any further abuse of the law, if you will.

18 Any future degradation of safety, okay?  
19 And maintain safety from a safety standpoint. That's  
20 my wording of what we are doing with this rule. But  
21 at the same time, too, it's providing -- yes, it is  
22 providing a basis from which we will -- we think we'll  
23 have a more effective efficient --

24 MEMBER WALLIS: I think because of the  
25 nature of this arcane regulatory world, I think you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have to put it in terms that the public will  
2 understand so that they can realize whether you are  
3 dealing with a student drinking problem type thing but  
4 they are breaking the law, or whether you are doing  
5 something quite different which is clarifying sort of  
6 exceptions which are perfectly reasonable and don't  
7 affect safety.

8           You have to make it perfectly clear.  
9 Otherwise, you may be misunderstood or misrepresented.  
10 Take it out of this regulatory framework and frame it  
11 in some terms that the average citizen can understand  
12 and believe that you're doing the right thing.

13           CHAIRMAN ROSEN: Leslie, you're going to  
14 have to wrap it up here in the next five minutes and  
15 give David his five minutes.

16           MS. KERR: Okay. We'll try. Okay. So  
17 onto cost and savings. The licensee's cost would  
18 include -- of the proposed rule now is what the cost  
19 and savings I'm referring to. The licensee cost would  
20 be to document compliance with the acceptance  
21 criteria.

22           We used an industry estimate of \$300 for  
23 that. Savings or avoided cost include decrease in  
24 50.12 exemption request. Again, an industry estimate  
25 of \$2,500 per request. And also a decrease in plant

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 modifications where we used a conservative estimate of  
2 \$250,000 per modification.

3 MEMBER WALLIS: I guess I can read ahead.  
4 You're going to claim there's going to be a savings by  
5 doing this.

6 MS. KERR: Correct.

7 MEMBER WALLIS: Is there anything here  
8 that says you've gained anything in safety?

9 MEMBER SIEBER: No, you don't. But you  
10 don't lose anything either.

11 MEMBER WALLIS: The only reason you're  
12 doing this is really because of safety. Isn't it?  
13 You're doing it --

14 MS. KERR: We're doing it --

15 MEMBER WALLIS: -- for cost here.

16 MR. THOMAS: The reg analysis dovetails  
17 the technical basis, the technical issue itself which  
18 is, as was previously discussed, being done for  
19 efficiency and clarification purposes.

20 MEMBER WALLIS: Is there some benefit in  
21 public safety which ultimately ought to have a dollar  
22 value?

23 MEMBER SIEBER: No.

24 MR. THOMAS: The reg analysis -- the focus  
25 of the reg analysis is just on the rulemaking and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 you've got to look at the technical issue that's being  
2 challenged in the rulemaking itself which is --

3 MEMBER WALLIS: So you're in the  
4 regulatory world.

5 MR. THOMAS: We're in the regulatory  
6 world.

7 CHAIRMAN ROSEN: And there is no one here  
8 from the staff to argue any side of this that this  
9 suggestion can improve safety in some respect?

10 MR. WEERAKKODY: The only thing I can say  
11 is there could be basically again in safety because we  
12 are qualifying the criteria and making our  
13 expectations very, very clear. That could be a gain  
14 in safety. But if you go back to the purpose of the  
15 rule because it's not driven by safety. We have  
16 always said that we have enough instruments and  
17 processes out there today to maintain plant safety.

18 MS. KERR: And we do discuss the  
19 regulatory efficiency or clarifying regulations as a  
20 qualitative benefit in the reg analysis rather than a  
21 quantitative. These are just the quantitative cost  
22 savings.

23 MEMBER WALLIS: I guess I'll believe the  
24 numbers you've got there. When you get to slide 42,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 maybe someone should spend some time, maybe not now,  
2 on the quality perception part, the last bullet.

3 MS. KERR: Yes.

4 MEMBER WALLIS: I think this is hanky  
5 panky this dollar bit but if there is some measure in  
6 terms of how this is affecting safety, that's really  
7 what I think the public is interested in.

8 MS. KERR: Okay. Did you want to go  
9 there? Do you want me to continue with the slides?

10 MEMBER SIEBER: I think if you're going to  
11 catch up it would be a good place to do it.

12 MS. KERR: Okay. Let me just say that NRC  
13 also has some cost and savings. The cost is to  
14 prepare the regulatory guidance. Savings includes  
15 decreasing the NRC review of 50.12 exemption request.  
16 When you compare it with the industry practices  
17 without enforcement discretion, baseline, there are  
18 net costs and savings associated with each alternative  
19 and these are presented at the 7 percent discount  
20 rate. No action, no rulemaking alternative net cost  
21 is zero. Revising regulatory guidance alternative net  
22 cost is \$42,240.

23 MEMBER WALLIS: The implications of all  
24 these actions are exactly the same.

25 MS. KERR: They are all neutral. Correct.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: All the same?

2 MS. KERR: Yes. The reg analysis is  
3 safety neutral.

4 MEMBER WALLIS: So no action is just the  
5 same application -- implication for safety as your  
6 rule alternative?

7 MS. KERR: Well, we only considered safety  
8 in the sense that if the rules are clarified, that may  
9 be --

10 MEMBER WALLIS: It must be a safety  
11 benefit.

12 MS. KERR: I guess that's not for me to  
13 say as a reg analyst.

14 MR. THOMAS: Again, I think to maintain  
15 the current level of safety and to preclude any future  
16 depletion of safety. If in effect we were to not  
17 revise the rule and leave things as they are, the  
18 staff would experience a significant amount of  
19 exemption request, if you will. From a safety  
20 standpoint we think through that method safety would  
21 still be maintained.

22 MR. QUALLS: Yes, this is Phil Qualls  
23 again. Just a brief note on safety. We tried to  
24 write this rule to make it safety neutral from  
25 compliant with manual actions to compliant with the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 fire barriers has all provided an adequate level of  
2 plant safety. We provided the criteria, though,  
3 because what we were finding on inspections two,  
4 three, four years ago were lack of procedures in many  
5 cases, lack of staffing, lack of training.

6 If you look at it from a net safety  
7 standpoint from where we were several years ago, yes,  
8 by bringing into some standard for the manual actions  
9 there should be a net gain in safety. But if you are  
10 comparing safety from one compliance option to  
11 another, we attempted to make that safety neutral.

12 MS. KERR: Okay, finally, the proposed  
13 rule alternative, again, when compared with the  
14 industry practices as they stand today, there was a  
15 net savings of roughly \$17,000.

16 MEMBER WALLIS: Once we save this money we  
17 can spend it on something else?

18 MS. KERR: That's not for me to say  
19 either.

20 MEMBER SIEBER: Give it back to the rate  
21 payers.

22 MS. KERR: Again, I presented the same  
23 results at the 3 percent discount rate.

24 MEMBER WALLIS: How many years is this  
25 spread over?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. KERR: Thirty years.

2 MEMBER WALLIS: How much of it goes to the  
3 Government?

4 MS. KERR: Let me look here. Hold on.

5 MEMBER WALLIS: Saving the Government 10  
6 million bucks.

7 MS. KERR: It's a combination of both.

8 MEMBER SIEBER: It's the industry that  
9 saves the money.

10 MS. KERR: Right. The majority of the  
11 savings is to industry but some of it goes to NRC.  
12 Here is the final slide. The proposed rule  
13 alternative is the preferred alternative in the  
14 regulatory analysis because, as we looked at the cost,  
15 the quantitative cost, it reduces both NRC and  
16 licensee net cost.

17 As far as the qualitative attributes, it  
18 improves regulatory efficiency or clarification of  
19 regulation. Again, I think we've discussed that a lot  
20 here. I won't go into it further unless you would  
21 like to.

22 Public perception. This one I believe has  
23 both positive and negative connotations. The positive  
24 one, of course, we discussed as the public perceiving

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the NRC and the licensees as following a much clearer  
2 set of rules.

3 The negative one that we considered is  
4 that if there is a perception, not necessarily reality  
5 but a perception that manual actions are less safety  
6 and automatic type of fire protection, then public  
7 perception or confidence could be decreased. In the  
8 end we decided that the cost savings and improvements  
9 in efficiency outweighed the negatives.

10 CHAIRMAN ROSEN: Okay, Leslie. Thank you  
11 very much.

12 David, you've got, I estimate, two minutes  
13 now before you are cutting into our games.

14 MEMBER SIEBER: We'd like to reduce that  
15 in half.

16 MR. DIEC: How about if I try one minute?

17 MEMBER SIEBER: Very good.

18 MR. DIEC: Most of the text that we put  
19 forward for the public information before we came  
20 before you was one time or another discussed by Alex  
21 so in the interest of public interaction with the  
22 committee, I'm not going to go through step by step to  
23 talk about each one of them.

24 But mainly going through this fairly  
25 quickly, we are introducing the existing III.G.2(c)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 with the entry into different option for using  
2 operator manual action as III.G.2(c-1). That is the  
3 fourth option in the III.G.2 section area.

4 The new section P discuss about what we  
5 mean operator manual action and the requirement of  
6 using it by satisfying the list of criteria including  
7 analysis, procedures and training, implementation, and  
8 administration. Basically those are the words that  
9 are made available to the public and they are included  
10 as part of the discussion for the record.

11 With

12 that --

13 CHAIRMAN ROSEN: Oh, boy. That was very  
14 quick. I think I would like you to go back two  
15 slides. You stuck a couple of words in here that  
16 almost nothing was discussed at all and those words  
17 are, "Including security event."

18 MR. DIEC: Right.

19 CHAIRMAN ROSEN: Under Item 1.

20 MR. DIEC: Let me --

21 CHAIRMAN ROSEN: Is that the only guidance  
22 we've got here? This is a remarkably complex subject  
23 to add to another complex subject with only those  
24 words.

25 MR. DIEC: Right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. BLACK: I thought Cathy Haney was  
2 going to address that but I think I can take care of  
3 it since she doesn't seem to be here anymore. When  
4 this rule was being written there were questions about  
5 how we address the safety and security interface in  
6 our regulatory framework and it is still under  
7 discussion.

8 This is more or less a placeholder because  
9 you can either put these requirements in the security  
10 rule so when something is changed in the safety part  
11 of the license that the implications for the security  
12 plan have to be considered or vice versa. If you put  
13 it in Part 50, there are many places like 50.59,  
14 50.90.

15 The Division of Regulatory Improvements  
16 thought it was best to put a placeholder in this  
17 regulation to show that we are thinking about safety  
18 security interface but not necessarily have we at this  
19 point decided exactly how to take care of it.

20 CHAIRMAN ROSEN: Well, I think that is  
21 very clear, Susan. The inclusion here of this matter  
22 would complicate fire analysis required substantially.  
23 From that review then we would need a whole lot more.  
24 We do need a whole lot more guidance in this area of  
25 how to do this either here or in some other place.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           If you don't do that, then it understates  
2 the importance of this issue dramatically. Just  
3 throwing in that phrase can't capture for anyone,  
4 certainly not for a member of the public just how much  
5 more complicated this would be.

6           What I think we need to understand as kind  
7 of a given for this discussion that there will be  
8 further guidance about how the security issues will be  
9 used when one tried to do an operator manual actions  
10 calculation I guess in something other than the  
11 construct we've had in front of us because we can't  
12 review it here. It's not here. Right?

13           MS. BLACK: That's correct. And in fact,  
14 in putting it into the time margin, it may be  
15 something that eventually would need to be included in  
16 that, but as I see it, as long as you have the  
17 available security force, if you feel you need a  
18 security officer to go along with this person, it  
19 shouldn't effect the time margin as long as that  
20 person is available at the time this is needed.

21           CHAIRMAN ROSEN: Well, now you're getting  
22 into the details. All I wanted to do is point out  
23 that it's not here.

24           MS. BLACK: Exactly.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN ROSEN: And that if it were here,  
2 we would probably have to close the session to  
3 properly protect classified information.

4 MS. BLACK: Exactly, and I certainly don't  
5 know enough to talk about it. I've probably already  
6 told you more than I know about the subject and it  
7 will be a subject that will come before the Committee,  
8 I'm sure, in its own right, as opposed to --

9 CHAIRMAN ROSEN: So if the ACRS were to  
10 write a letter about this, it probably will need to  
11 say that this discussion does not include the impact  
12 of security events because there's no guidance off of  
13 here and that must be provided separately.

14 MEMBER WALLIS: But it has to be  
15 considered. If it's an internal person who sets the  
16 fire the same person might well remove the ladder  
17 which is needed to go up and --

18 CHAIRMAN ROSEN: Or worse, or do worse  
19 than remove the ladder.

20 MEMBER WALLIS: He doesn't need to do  
21 worse, just do a few simple things.

22 CHAIRMAN ROSEN: So I think what one needs  
23 to understand is that this needs to be accompanied in  
24 some way with a careful set of guidance and properly

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 classified venues on how to deal with security issues  
2 and so my only comment on this slide. Now, go ahead.

3 MR. DIEC: Okay, I guess I went through  
4 this slide as well, talking about procedures and  
5 training.

6 CHAIRMAN ROSEN: I did want to reinforce  
7 the comment I made about demonstration. This is Item  
8 D on your Slide 47. I hope you take notes about that  
9 because it isn't clear to me what a licensee is  
10 supposed to do. If he has many manual acts, is he to  
11 demonstrate each of them each year or some of them  
12 each year? And I heard the answer is well, you ought  
13 to take a representative sample, you ought to take the  
14 most challenging one, but that's no place in any of  
15 this guidance that I could find.

16 MR. DIEC: Certainly, this is the area  
17 that we're going to go back and look at it and perhaps  
18 discuss this issue a little bit further in the reg  
19 analysis environment rather than the textual itself.

20 CHAIRMAN ROSEN: In the reg analysis  
21 environment?

22 MR. DIEC: I'm sorry, in the reg guides.

23 MEMBER SIEBER: You anticipate a reg guide  
24 that goes along with this.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. DIEC: Yeah, the reg guides is already  
2 a part of the package that we forwarded to you.

3 CHAIRMAN ROSEN: But there's nothing about  
4 demonstration in terms of --

5 MR. DIEC: Correct, it talks about  
6 demonstration but not to the extent that you are  
7 asking questions.

8 CHAIRMAN ROSEN: Well, of course, and I  
9 mean, in the reg guide, you have to answer the  
10 questions, certainly answer the questions that come up  
11 while we're formulating it. You may have other  
12 questions you'll have to answer later, but that seems  
13 an obvious one.

14 MEMBER SIEBER: That's an important point,  
15 by the way because the reason why we're here is  
16 because Appendix R wasn't clear. And so now you're  
17 pointing out that there's parts of this new rule that  
18 aren't clear and it's not in the reg guide.

19 CHAIRMAN ROSEN: And we're going to have  
20 interpretations of exemptions --

21 MEMBER SIEBER: Before we're done,  
22 everything ought to be clear. You know, all these  
23 loose ends need to be picked up.

24 CHAIRMAN ROSEN: All right, thank you very  
25 much. Mr. Emerson of Nuclear Energy Institute has the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 floor now and we'll try to accord him the 20 minutes  
2 we've promised him.

3 MEMBER SIEBER: Slide show?

4 MR. EMERSON: I'm Fred Emerson from the  
5 Nuclear Energy Institute. Joining me here are Dennis  
6 Henneke from Duke Energy who is a PRA expert with a  
7 lot of experience in fire PSA and on my right is Jeff  
8 Ertman from Progress Energy with many years experience  
9 in fire protection and safe shutdown at several  
10 nuclear plants. We appreciate the opportunity to talk  
11 to the ACRS and present at least briefly the industry  
12 perspectives on what the staff is proposing. I'll  
13 start off with a summary slide. The -- in our view,  
14 where we started with this two years ago, we started  
15 down the rulemaking path to address this issue.

16 The staff proposed an inspection guidance  
17 in I think it was March 2003, a set of feasibility or  
18 acceptance criteria to achieve the desired goals for  
19 assuring the feasibility and reliability of manual  
20 actions. And generally we agreed with that, it  
21 appeared like it was a reasonable set of expectations  
22 for anyone who was going to rely on manual actions to  
23 have to address when he did it.

24 Since that time there have been a number  
25 of changes as this rulemaking has progressed among

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 which are the automatic suppression and the time  
2 margin factor. We don't feel that these improve  
3 safety. They just add an unnecessary layer of  
4 conservatism and don't really improve safety at all.  
5 The third item has to do with the security events that  
6 Dr. Rosen brought up a minute ago.

7 MEMBER WALLIS: You feel that they don't  
8 improve safety. Is this on the basis other than your  
9 feelings about why they don't improve safety? Why is  
10 it -- surely automatic suppression improves safety.  
11 Take it out, it's going to make the fire burn more.

12 MR. EMERSON: I'll address your issue.  
13 We're going to -- this is just the summary side.  
14 We'll get to that.

15 MEMBER WALLIS: You said it didn't effect  
16 safety and I'm just challenging that statement.

17 MR. EMERSON: Okay, I understand the  
18 question. The issue the Dr. Rosen just brought up  
19 having to do with security events, we feel that  
20 there's a different mechanism for dealing with  
21 security issues. We should not mix the consideration  
22 of security events into the time line analysis that's  
23 being proposed by the staff, so it should be handled  
24 separately. The -- we had recommended -- in response  
25 to a Federal Register notice back in January we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 recommended a set of improvements in the criteria the  
2 staff were proposing. That's just for general  
3 reference.

4 And lastly, we think there are better  
5 methods for addressing these issues related to  
6 improved reliability in the rulemaking process and  
7 we'll --

8 MEMBER WALLIS: The rule is put out for  
9 comment. You can make all these comments.

10 MR. EMERSON: That's correct.

11 CHAIRMAN ROSEN: But the purpose of this  
12 discussion as to whether or not the ACRS wants to --

13 MEMBER WALLIS: But if the rule is so  
14 flawed that it's going to be shot down by comments,  
15 maybe we should say don't put it out.

16 CHAIRMAN ROSEN: That's right, as we did  
17 in one case, we suggested that another rule which I  
18 know you're familiar with.

19 MEMBER WALLIS: But you're not suggesting  
20 the rule is so flawed it shouldn't be put out, are  
21 you?

22 MR. EMERSON: We're suggesting that the  
23 original concept was quite reasonable. We think some  
24 of the changes that have taken place over the last  
25 couple of years have not added anything to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 licensee's ability to have safe and effective manual  
2 actions.

3 CHAIRMAN ROSEN: Do you want to take a  
4 crack at Graham's point or do you want to take a pass?

5 MEMBER WALLIS: Hold up issuing this rule?

6 MR. EMERSON: Should we hold up issuing  
7 the rule?

8 MEMBER SIEBER: In its present form.

9 MR. EMERSON: Just speaking from my own  
10 opinion, I'm not sure the rulemaking was required to  
11 do that but the staff has chosen that pathway to  
12 address this issue. We think the rulemaking could be  
13 useful in achieving a broader degree of consistency  
14 among the industry but it's not the only way that  
15 could be used to do that.

16 MEMBER SIEBER: There's really three ways,  
17 okay. One is rulemaking. Another one was the  
18 exemption process and the third one goes straight to  
19 enforcement. Maybe this is the better alternative.

20 MEMBER WALLIS: You wouldn't want them to  
21 go straight to enforcement, would you?

22 MR. EMERSON: Only to say this --

23 MEMBER WALLIS: Well, should we recommend  
24 that? Would you like us to recommend they go straight  
25 to enforcement, forget about rulemaking?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. EMERSON: Could I add a little context  
2 before I answer the question?

3 MEMBER SIEBER: Yes or no, how is that?  
4 Well, we could move on.

5 MEMBER WALLIS: Now, you can add whatever  
6 you want.

7 MR. EMERSON: Sunil Weerakkody addressed  
8 a minute ago, and he indicated that the staff's  
9 attention was drawn to this only fairly recently, you  
10 know. This is not a brand new issue. These manual  
11 actions have been in place by licensees for many years  
12 through the interpretations that were put on the rules  
13 that were put in place that long ago. And these  
14 manual actions have been inspected for many years and  
15 it was only recently, back in 2002 that -- or maybe a  
16 year earlier that the staff decided that this was --  
17 that this was an issue involving compliance. So as he  
18 indicated, the licensees have not been out of  
19 compliance for 15 years. It's just an effort recently  
20 noticed to the industry that this was a concern of  
21 theirs.

22 So as far as do we want to involve the  
23 industry in a lot of new exemption requests? I would  
24 say that's certainly quite likely if the rulemaking  
25 didn't take place.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Yeah.

2 MR. EMERSON: Whether that's desirable or  
3 not, you know, it seems like an unnecessary waste of  
4 resources.

5 CHAIRMAN ROSEN: Okay, I'm just being sure  
6 I understood I heard you now that you think that the  
7 rulemaking didn't take place, it would likely be a lot  
8 of exemption.

9 MR. EMERSON: Yes.

10 MR. HENNEKE: I'd like to say, and I know  
11 Fred doesn't want me to say exactly this, but because  
12 of the requirements for time margins -- and this is  
13 Dennis Henneke from Duke Power, by the way. Time  
14 margins and the automatic suppression, we have III.G.2  
15 areas now without automatic suppression, without fixed  
16 suppression and we determined that based on fire  
17 hazards analysis, which is the correct way with  
18 defense and depth, so it is likely if the rule went  
19 through as proposed, that we would come through with  
20 probably as many exemptions as we would if the rule  
21 did not go through. So because we would have to put  
22 an exemption for every manual action where we had an  
23 area that didn't have automatic suppression, we would  
24 also have to put an exemption or deviation through.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 So we would -- there's no change in that regard if the  
2 rule goes through as proposed.

3 CHAIRMAN ROSEN: But if the rule went  
4 through without automatic suppression and fire  
5 protection, it would be fewer?

6 MR. HENNEKE: I would say then we'd only  
7 have issues with regard to time margin where we would  
8 show the action was safe but we didn't meet the time  
9 margin requirements. And Fred is going to go through  
10 our slides on that.

11 MR. EMERSON: I think, in starting in on  
12 this slide, I think I should make it very clear that  
13 we agree that manual actions should be demonstrated as  
14 safe, reliable and feasible, that that should be a  
15 pre-condition for using them but if you can do that,  
16 we believe that they present a reasonable alternative  
17 to physical protection. That was the basis for this  
18 slide. We expressed that opinion several years ago,  
19 before the rulemaking started. We believe that these  
20 criteria that were put in place in the inspection  
21 procedure, they do -- they can be applied to all  
22 manual actions. They address feasibility and  
23 reliability acceptably and if the licensee carries  
24 them out in the way that they're intended, they will  
25 take care of the issue of demonstrating that an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 equivalent degree of physical protection -- too the  
2 physical protection could be provided.

3 The changes to the criteria that have  
4 taken place are the three areas involving security,  
5 detection and automatic suppression in the area of the  
6 fire and the time margin factor that we've heard the  
7 staff describe. Just very simply and without  
8 elaboration, we think that the security should be  
9 separated from this issue.

10 In the area of detection and automatic  
11 suppression, we would concur that detection in the  
12 area where the fire occurs can be an asset to  
13 crediting manual actions because --

14 MEMBER WALLIS: How do you take manual  
15 action if you don't know the fire has occurred? You  
16 have to detect the fire in order to know that you're  
17 going --

18 MR. EMERSON: I agree and that's the point  
19 of this slide.

20 MEMBER WALLIS: You must detect the fire.

21 MEMBER SIEBER: You can -- an operator can  
22 see anomalous operation or something --

23 MEMBER WALLIS: But that's detection.

24 MEMBER SIEBER: -- and take an action  
25 without knowing that there's a fire or where it is.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MR. HENNEKE:       But I'll state two  
2 exceptions. We often have large fire areas with sub-  
3 areas or sub-zones that do not have detection because  
4 they don't have hazards but they do not effect the  
5 manual action and that is non-exception to this rule,  
6 we would be required to put detection in those sub-  
7 zones. The second is, we often times put manual  
8 actions in our procedure in our fire procedures that  
9 are already in our emergency procedures. So  
10 irregardless of detecting the steam generator over-  
11 feed, we would perform that manual action locally  
12 anyways. So detection would be nice but it's not  
13 necessarily required to complete the manual action.  
14 So there are exceptions which are not considered by  
15 the rule.

16                   MR. EMERSON:   It's well understood the  
17 detection is already supplied and has been in place  
18 for many years in plants, too.

19                   MEMBER WALLIS:  You don't have a problem  
20 with requiring detection.

21                   MR. EMERSON:   As I said --

22                   MEMBER SIEBER:  Apparently somebody does.

23                   MR. EMERSON:   Well, detection is already  
24 a requirement and detection is already a part of the  
25 defense in-depth philosophy that's been incorporated

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 into fire protection for several years, so of course,  
2 I don't object to having detection. And we think that  
3 if there are cases where detection will improve the  
4 ability to carry out a manual action, then that  
5 certainly seems reasonable. We think those were the  
6 primary area where that might be useful is where you  
7 carry out pre-emptive manual actions rather than ones  
8 that can be allowed to take place over a period of  
9 time where you're reacting to the loss of a function.

10 So yes, short answer, yes, it can be an  
11 asset, if it can help the operator carry out the  
12 action. The requirement for suppression, we don't  
13 feel, adds anything to the operator's ability to carry  
14 out the actions. Again, suppression is already  
15 required. Suppression has already been installed in  
16 areas and the ability of the suppression to address  
17 the defense in-depth aspects than the current Appendix  
18 R. We don't feel like adding more suppression is  
19 going to inherently help the operator carry out --

20 MEMBER WALLIS: Why would you add more  
21 suppression if we've already got enough suppression to  
22 suppress a fire? Why would you have to add more?

23 MR. EMERSON: Well, even if you didn't  
24 have suppression, again, the manual action is being  
25 carried out in an area remote from the fire.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Certainly if the manual action were being carried out  
2 in the area of the fire, it would be very obvious.  
3 Suppression would be an asset to perform any action.  
4 But it's difficult to see how adding suppression in t  
5 the area of the fire is going to help you carry out  
6 the manual action at some distance away.

7 MEMBER WALLIS: That wasn't the purpose.  
8 The purpose was a defense in-depth.

9 MEMBER SIEBER: Well, it's the manual  
10 action that's the defense in-depth. The detection and  
11 suppression is the main way to control the --

12 MEMBER WALLIS: That's your response to  
13 the fire is to try to suppress it. That makes sense  
14 and then the manual action is a backup.

15 MEMBER SIEBER: Is a defense in-depth.

16 CHAIRMAN ROSEN: Isn't it a time question?  
17 If you add suppression to the fire area, it gives the  
18 operators time in the area that they're taking the  
19 manual action outside that area more time to take it  
20 and have it effected.

21 MR. HENNEKE: No, no, typically  
22 suppression is -- if suppression fails the manual  
23 action is required. So the addition of suppression  
24 only lowers the frequency by which manual actions are  
25 required.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER SIEBER:       Manual actions are  
2 required.                   MR. HENNEKE: So what we've done  
3 in our fire hazard analysis for all sites is that the  
4 detection and suppression is performed based on the  
5 ignition frequency on the fire side, based on the fire  
6 hazard analysis.       That's the first step in the  
7 defense of that is the ignition frequency, the  
8 likelihood of the fire and the fire size.  
9 Suppression detection is added upon that based on the  
10 largest hazards, both ignition frequency and size and  
11 then manual actions and alternate shut-down and safe  
12 shut-down is the other layer of defense in-depth.

13                   By turning it on its head, by saying we  
14 now require backwards defense in-depth of suppression  
15 for safe shut-down, that doesn't meet the defense in-  
16 depth model as we see it.

17                   CHAIRMAN ROSEN: You treat those two as  
18 separate anyway.

19                   MR. HENNEKE: So we can have III.G.2 areas  
20 with not a thing in it, with not a fire ignition  
21 source in it, that would now require automatic  
22 suppression and that doesn't match our fire hazard  
23 analysis and defense in-depth model.

24                   CHAIRMAN ROSEN: You could have a III.G.2  
25 area that require automatic suppression --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1                   MEMBER WALLIS:   When you can't have a  
2 fire.

3                   CHAIRMAN ROSEN:  -- when you can't have a  
4 fire there.

5                   MR. HENNEKE:   But the rule would require  
6 that.  We do not now require that but the rule would  
7 require it.

8                   CHAIRMAN ROSEN:  Yes, in order to take  
9 credit for the manual actions which you already have  
10 planned into your program.

11                   MEMBER WALLIS:  It just seems kind of  
12 silly but the original idea of the suppression was to  
13 put out the fire but then the manual action is a  
14 backup and obviously the two together gets your more  
15 safety than one by itself.  So I don't see how you --

16                   MEMBER SIEBER:  If it's not a trade.

17                   MEMBER WALLIS:  It's not better to have  
18 these two things rather than just one alone.

19                   MR. HENNEKE:   But prove it's unsafe.  I  
20 mean, we have a safe operating plant now.

21                   MEMBER WALLIS:  It's a question of safer.  
22 You know, safe is a continuum, safety is a continuum.  
23 We have two actions which contribute to safety  
24 somewhat independently.  If you're safer then you just  
25 have one.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. EMERSON: At some point --

2 MEMBER WALLIS: That's just defense in-  
3 depth.

4 MR. HENNEKE: That's a back-fed on what we  
5 have now.

6 MR. EMERSON: At some point the staff made  
7 a decision that the detection and suppression in an  
8 area was adequate before we ever started talking about  
9 manual actions.

10 MEMBER WALLIS: They've already decided  
11 that? They had another --

12 MR. EMERSON: Well, it's been in place for  
13 many years.

14 MEMBER WALLIS: They had 20 feet between  
15 and other things you had to do as well.

16 MR. EMERSON: Right, and so at some point  
17 before manual actions was a consideration, you know,  
18 the staff made a decision or has reviewed all the  
19 licensing programs and determined that the suppression  
20 and detection is either adequate in an area based on  
21 their defense in-depth principles or it isn't and at  
22 this point to add another layer of suppression in an  
23 area where they've previously decided that it wasn't  
24 needed --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MEMBER WALLIS: I think this would also  
2 fit into your response to the issuance of the rule for  
3 comment. It doesn't prevent the rule from --

4           CHAIRMAN ROSEN: I don't think --

5           MEMBER WALLIS: It's a debatable issue and  
6 it were --

7           CHAIRMAN ROSEN: -- NEI or Duke is arguing  
8 against the value of suppression. We're just saying  
9 that --

10          MR. EMERSON: No, of course not.

11          CHAIRMAN ROSEN: -- that it improve the  
12 overall -- reduce the overall fire risk but you've  
13 already shown the manual actions in your case, in the  
14 cases you're talking about was adequate to preserve,  
15 I presume, functionality.

16          MEMBER WALLIS: All we have to worry about  
17 as ACRS is whether we recommend putting out the rule  
18 now for public comment or whether we should wait  
19 because it's such a lousy rule or because -- or we  
20 should say, "Everything is fine, we don't even need a  
21 rule at all". Those are the three considerations.  
22 And I have seen no argument which says we shouldn't  
23 issue the rule for public comment.

24          CHAIRMAN ROSEN: What about the security?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER WALLIS: Well, that's a different  
2 issue all together.

3                   MEMBER SIEBER: But that can be a comment  
4 to the rule.

5                   CHAIRMAN ROSEN: I would say that there  
6 are some questions here and we'll get a chance at the  
7 end of this for the ACRS members to offer their  
8 comments and I presume --

9                   MEMBER SIEBER: Well, to the extent a  
10 security event effects the time line, I think that it  
11 has to be factored into the time line calculation to  
12 determine the feasibility of the -- and reliability of  
13 the manual action.

14                   CHAIRMAN ROSEN: I'm going to give you  
15 three extra minutes, Fred, because of the colloquy  
16 between the ACRS members here. Go ahead.

17                   MR. EMERSON: Okay, on the time margin  
18 factor, the first slide has to do with our general  
19 concerns. The staff described the elicitation process  
20 and I would submit that it would have been more useful  
21 if there were a greater degree of independence and  
22 public input into that process similar to the manner  
23 in which we included the public and the staff in our  
24 deliberations on this -- on circuit failures. I think  
25 that it tends to discount -- if a licensee is able to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 demonstrate with his operating crews that manual  
2 actions can be carried out. The imposition of an  
3 arbitrary time margin factor tends to discount those  
4 demonstrations and if we're moving toward a  
5 performance based environment, it tends to detract  
6 from our ability to take advantage of that.

7 It also doesn't differentiate to equal  
8 zero, is treated differently between the staff's  
9 analysis and the time the thermal hydraulic analysis  
10 which is intended to measure the consequences of a  
11 spurious actuation or a functional failure and that's  
12 an issue. And we think it just provides an excessive  
13 degree of conservatism. We just don't think it really  
14 adds anything. And I'll elaborate a little more on  
15 that later.

16 There's some technical concerns that the  
17 staff's applying a single standard of 100 percent of  
18 a -- of the analyzed time margin to be applied as an  
19 additional 100 percent to assure that the action can  
20 be carried out. This may not be applicable to all  
21 types of manual actions. There are immediate actions  
22 that are needed called pre-emptive actions to prevent  
23 immediate or unrecoverable consequences and then there  
24 are actions that allow more time to take place before  
25 you lose a function, the time frame can be completely

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 variable depending on the function that you're talking  
2 about and the likelihood that the fire will impact the  
3 equipment under consideration.

4 We think there are better methods  
5 available for assuring this type of reliability than  
6 the application of this factor. In addressing the  
7 issue of how conservative this factor is, the type of  
8 analysis that is conducted for transient analysis is  
9 already conservative. You assume that for a fire  
10 outside the control room, you assume that the same  
11 kind of time frame, the same kind of postulated damage  
12 for fires outside the control room.

13 And the criterion you use for determining  
14 performance is a loss of sub-cooling. Both of these  
15 are already considered conservatisms. So the view of  
16 the industry is that to apply this time margin factor  
17 on top of this would be adding additional conservatism  
18 on top of this analysis that is already conservative.  
19 Again, I don't have any problem with making sure  
20 something is safe but when you have to conduct  
21 additional actions and additional analysis and you  
22 don't end up with any increased degree of safety,  
23 that's what I question.

24 MEMBER WALLIS: Do you have a measure of  
25 this safety?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. EMERSON: Not with me, I don't.

2 MEMBER WALLIS: No one seems to have any  
3 measure of safety in all of this discussion. That's  
4 what I'd really like to see. If you could show me  
5 some measure of safety that you're better off this way  
6 than that way, then I can choose alternative A over B  
7 on the basis of better safety, that might help me.  
8 But if you just argue that you don't think it does or  
9 something, that doesn't help me at all.

10 MR. HENNEKE: Well, we've done analysis  
11 and we've --

12 MEMBER WALLIS: Maybe you could present  
13 that.

14 CHAIRMAN ROSEN: Were we provided that?

15 MEMBER WALLIS: Not now, but when you  
16 actually critique the rule.

17 MR. HENNEKE: I think we provided that and  
18 we show that the analysis as we performed it provides  
19 more than adequate safety based on the conservative  
20 summary of hydraulics, based on the conservative time  
21 lines and the other conservatives we have in there and  
22 so those are our supporting information.

23 MR. EMERSON: In answer to your question,  
24 yes, we can address that in our comments. And just to  
25 continue that theme, it will result in a lot of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 additional analysis with not really any significant  
2 improvement.

3 MEMBER WALLIS: I guess I'm rather  
4 unsympathetic to all this continuing excuse that we  
5 don't want to do better analysis and you guys should  
6 be doing better analysis all the time.

7 MR. EMERSON: Well, I'm not saying -- we  
8 think the analysis that we have already has an  
9 adequate degree of conservatism. We don't see what  
10 adding additional conservatism is going to gain.

11 MEMBER WALLIS: But you would be better  
12 off in the long run if you did realistic calculations.

13 MR. HENNEKE: But we have a certain  
14 requirement for calculations whether it's small LOCA,  
15 large LOCA, tube rupture. We perform the same thermal  
16 hydraulic analysis for these types of actions that  
17 have a certain pedigree as with regard to the ANSI  
18 standard was discussed and now what you're talking  
19 about is using the PRA type of calculations that don't  
20 show a loss of steam generator cooling in 30 minutes,  
21 they show a loss of, you know, steam generator level  
22 in 54 minutes. Then we have to -- then we have to  
23 pedigree all that analysis and put that in the  
24 information. And then we have to do the ANSI standard  
25 again for every type of walk-down we have, whether it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 be III.D.3 actions or tube rupture it has a certain  
2 requirement.

3 Now, we're going to have to do, you know,  
4 say it doesn't take two minutes because we assume it.  
5 We're going to say it takes 30 seconds and then  
6 there's going to be a lot more question.

7 MEMBER WALLIS: Sounds like a student to  
8 me that doesn't want to do the homework.

9 MR. HENNEKE: But the point is a lot of  
10 costs, a significant amount of costs, more than what  
11 was predicted for no net safety gain, no reduction in  
12 risk. And we have an alternative to that.

13 MEMBER SIEBER: In your last sub-board  
14 there you say "validating the margin following testing  
15 for lead screw versus what is done now verified that  
16 each screw meets the time requirement". It seems to  
17 me the margin is put into the factor, into the formula  
18 because of the uncertainty. Are you going to  
19 encounter something that you didn't anticipate in the  
20 validation process of crew performance and that's  
21 really why that's there. And to not put that in there  
22 means that you are 100 percent certain that no  
23 unforeseen condition or it will slow an operator down.

24 MR. EMERSON: Yeah, we recognize that one  
25 of the rationales for the margin is to reflect the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 fact that there's a difference among different crews  
2 and their ability to carry it out but if you evaluate  
3 each crew's ability to do that, that certainly reduces  
4 the amount of uncertainty there is. You don't have to  
5 assume that -- you know, you can assign your -- you  
6 can decide on the operator's ability to carry it out  
7 based on the worst case performance of the worst crew  
8 in the bunch. You don't have to assign an arbitrary  
9 time margin factor to account for that.

10 MEMBER SIEBER: Well, granted it may be  
11 arbitrary. On the other hand, when you test each  
12 crew, you have a different environment than the fire  
13 environment and you simulate everything so actual  
14 difficulty in operating equipment, for example,  
15 turning valves where you need a valve wrench or  
16 something like that is not apparent.

17 MR. EMERSON: And that kind of margin is  
18 already factored in. You know, we don't shave it down  
19 to the second as far as demonstrating the operator's  
20 ability.

21 MEMBER SIEBER: How do you factor it in?

22 MR. EMERSON: I can't answer that but I  
23 know that from an operating standpoint --

24 MR. ERTMAN: Jeff Ertman with the  
25 Department of Energy. We do have a validation process

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 for these actions so you also train on -- and you may  
2 find the operator's already trained on particular  
3 actions like stoking a valve or opening a breaker and  
4 such, so you know the time that it takes for those  
5 actions and that is considered when you do your  
6 feasibility analysis.

7 CHAIRMAN ROSEN: Fred, you need to wrap  
8 up.

9 MR. EMERSON: Okay. We have -- we believe  
10 that there are different ways that you can address the  
11 reliability of these methods. These include  
12 conducting risk analysis performing an SDP type review  
13 and focusing the application of these methods on the  
14 actions that are really critical, not the ones that  
15 you have hours to allow to unfold. In summary the  
16 same points that I addressed in one of my first slides  
17 separate security events, detection can be an asset  
18 where it will assist the operator in carrying out a  
19 manual action.

20 We don't think the automatic suppression  
21 requirement improves the reliability of manual actions  
22 and we think that there is -- there are other ways to  
23 address the reliability than the time margin factors  
24 which the staff has proposed. That concludes the  
25 presentation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MEMBER WALLIS: This doesn't tell us that  
2 they should not put out this rule for comment. You  
3 can comment on it in this way and I think you've got  
4 some good points but it doesn't mean to say that --

5           MR. EMERSON: No, and I'm not suggesting  
6 that the staff not put it out for comment. I'm  
7 suggesting that there are portions of the rule that we  
8 don't think will add anything and if they show up when  
9 it's put out for comment, we'll comment on it.

10           MEMBER WALLIS: It may be a little  
11 difficult to resolve these --

12           MR. HENNEKE: We've commented on this  
13 already and it hasn't changed the draft rule so we  
14 don't suspect that if it gets through here that our  
15 comments will be heard again.

16           MEMBER WALLIS: So your complaint really  
17 is that the staff hasn't listened to you?

18           MR. HENNEKE: No. And in addition what  
19 we're trying to cover here, that, you know, when we  
20 need a sounding board and the staff doesn't seem to be  
21 listening. One thing Fred did not cover, one example  
22 is armored cable, multiple spurious or other factors.  
23 Every manual action has to meet the same criteria but  
24 if you have a low frequency sequence such as a  
25 multiple spurious as required by RIS 2000-403, where

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it's tandemized just to get to the spurious operation,  
2 let alone cable damage, the manual action associated  
3 with preventing that failure has to meet the same  
4 criteria as the safe shutdown -- required safe  
5 shutdown action and there really should be a  
6 differentiation. You shouldn't have to have the same  
7 time margin, the same requirements for actions that we  
8 are now just adding in because of the RIS that you  
9 would for something that's a direct failure of say  
10 shutdown. And there's a whole gambit of things with  
11 regard to why those actions are performed and they  
12 could be associated circuits, breaker fuse  
13 coordination, single spurious, multiple spurious,  
14 things of that sort.

15 It could be long term actions or short  
16 term actions and to put them all under one, you know,  
17 time margin factor, under one requirement for  
18 suppression just doesn't make sense.

19 MEMBER WALLIS: So when the staff comes  
20 back, all this stuff will be on the record and we can  
21 ask them how they respond to it.

22 CHAIRMAN ROSEN: If this goes out for  
23 public comment now. If not, you can make those  
24 comments when it does. Okay, thank you very much,  
25 gentlemen.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MEMBER SIEBER: Before we finish, I would  
2 just -- the third bullet there, where it says  
3 "automatic suppression requirement does not improve  
4 reliability of manual actions", I think that you may  
5 want to look at it differently. Automatic suppression  
6 may reduce the requirement for manual actions which is  
7 the goal. You want the automatic stuff to work first  
8 and the manual actions as the backup not the reverse.

9           MR. EMERSON: I understand your point.

10          MEMBER SIEBER: Okay.

11          CHAIRMAN ROSEN: Thank you very much.

12          MR. EMERSON: Thank you.

13          CHAIRMAN ROSEN: We now call Paul Gunter  
14 of the Nuclear Information Resource Service.

15          MR. GUNTER: Thank you. First of all, Dr.  
16 Rosen, I really appreciate you giving us the extra  
17 time. It's going to give me some breathing room as  
18 well as an opportunity to respond to some of the  
19 issues and questions raised. And Dr. Wallis, I really  
20 appreciate you bringing up the layman's questions. I  
21 come to this as a layman. I think a little more than  
22 the average, Information Resource Service was the  
23 petitioner to the U.S. Nuclear Regulatory Commission  
24 for emergency enforcement action back in 1992 with  
25 regard to thermal-lag fire barriers.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So the reason that we're here before you  
2 today is, in fact, the concern that we still have  
3 those non-compliances with -- largely in part due to  
4 the failure of the industry to come into compliance  
5 and the failure of the NRC to effect enforcement. And  
6 it is, in fact -- the whole concern here is that  
7 unanalyzed, unapproved manual actions are being  
8 proposed or actually right now are in effect. Some of  
9 those actions, in fact, in areas that are -- were to  
10 be taken in areas where fires were to be, you know,  
11 postulated. So I just wanted to make that  
12 clarification.

13           You know, I was struck by a comment made  
14 in November of 2003 with regard to the industry and  
15 NRC have agreed and the quote was, "to suspending the  
16 debate over fire protection history", and as you know,  
17 there's an extensive history here that I think is a  
18 little like the elephant in the middle of the room.  
19 The issues have come to you time and time again. The  
20 public is well aware of a history where the agency  
21 attempted to respond to a fire experience and the  
22 industry was resistant. Some of those areas where the  
23 industry was resistant to NRC recommendations included  
24 safe shut-down capability, fire barriers and  
25 associated circuits.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The fire at Browns Ferry demonstrated that  
2 a very large number of safety-related failures can  
3 occur in a relatively short period of time, in that  
4 case 15 minutes and the NRC undertook an effort to  
5 restore protection against common mode failure by the  
6 protection of cable functionality for redundant safe  
7 shut-down systems evolving into the promulgation of  
8 Appendix R and more specifically III.G.2.

9           We became aware of the thermal lag issue  
10 n 1991 when the -- it was revealed that 26 units at --  
11 well, let's see it was more than that, it was 79 units  
12 were using varying grades of this barrier that was  
13 determined to be inoperable. In 1998 the -- after  
14 spending a million dollars on fire barrier testing and  
15 cable functionality, the agency issued orders  
16 confirmed reaction orders to 17 sites for 26 units and  
17 we thought at that point that in fact, enforcement  
18 action was underway.

19           Unfortunately, SECY 2003-0100 basically  
20 produced and acknowledged that the widespread use of  
21 unanalyzed and unapproved manual actions were due  
22 largely to unresolved and unimplemented thermal lag  
23 action items. Part of that history also, we believe  
24 has to look at the intent of Appendix R, III.G.2.  
25 There are a number of documents but we chose the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 American Nuclear Insurers document which identified  
2 for insurance purposes that the maintenance of circuit  
3 integrity in these Class IE circuits, safety circuits  
4 during a postulated fire if of prime importance by  
5 establishing what they determined a protective  
6 envelope for redundant safety systems.

7 So the -- for insurance purposes, the  
8 industry was instructed to focus on circuit integrity  
9 and to provide the with a protective envelope. Of  
10 course, this also included the cable separation. So  
11 clearly as codified, Appendix R III.G.2 focused on  
12 maintaining these redundant trains free from fire  
13 damage and that intent is clear, it's explicit with  
14 the protective envelopes and the physical separation  
15 and the requirement for these barriers to be qualified  
16 and with the inclusion for one-hour barriers and cable  
17 separation for the use of detection and suppression  
18 equipment.

19 This is our main point that we come to you  
20 today. Manual actions are not equivalent to current  
21 fire protection features of III.G.2. As we stated the  
22 intent, the clear intent of III.G.2 is to provide for  
23 -- and to protect cable functionality. It's -- that  
24 cable functionality is qualified by a standardized  
25 test criteria developed by the American Society for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Testing of Materials, the National Fire Protection  
2 Association and Underwriters Laboratory. We submit to  
3 you that this in fact, is the measure of safety that  
4 you're asking about. It is -- it is using the fire  
5 barriers and the cable separation to become a part of  
6 the front line defense. It's our concern that manual  
7 actions are taken after failure of circuit integrity  
8 and cable functionality and are dependent upon human  
9 actions that are difficult to qualify under limited  
10 fire and human behavior models and unrealistic  
11 simulated fire conditions.

12           You know, you can postulate risk but there  
13 always remains the concern of things like transient  
14 combustibles. Clearly, there have been fires where  
15 the introduction of combustible materials have -- that  
16 were never conceived have arrived and contributed to  
17 a fire. It's our concern that adding a Subsection C.1  
18 to III.G.2 in effect is both inconsistent with the  
19 intent of the protective qualities of III.G.2 and  
20 significantly undermines the intent of the current  
21 rule. In the context of what we've seen as an  
22 enforcement struggle and a compliance struggle, since  
23 we were first introduced to this issue back in 1991  
24 and subsequently to the revelations of the bulletins  
25 around thermal lag, that the -- that to introduce this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 N III.G.2 is, in fact, an obvious Trojan Horse that  
2 would defeat compliance enforcement of III.G.2 (A),  
3 (B) and (C).

4 Here's just a case in point. Through a  
5 FOIA that we filed 2003--358, we looked at a number of  
6 operator manual actions that were unapproved and  
7 unanalyzed. Crystal River really stands out in that  
8 first of all, it relied extensively on thermal lag  
9 fire barriers in excess of 10,000 linear feet and  
10 10,000 square feet was the criteria for extensive.  
11 They were issued a confirmatory action order in May of  
12 1998 for a thermal lag action plan. It was identified  
13 that the operator sought no exemptions or amendments  
14 concerning manual actions to compensate for not  
15 protecting III.G.2 fire areas that were in questions  
16 through the inoperable thermal lag barriers.

17 In fact, they incorporated a significant  
18 number of operator manual actions to resolve thermal  
19 lag with no written analysis. Now, this is of  
20 significant safety concern. More so is the -- we  
21 filed an allegation in August and were -- the response  
22 that we got back from the Nuclear Regulatory  
23 Commission was not comforting or provided us with  
24 confidence. In fact, the response to the allegation  
25 was that no attempt was made during the 2002 triennial

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 fire protection inspection to formally review the  
2 licensee thermal lag resolution program or compliance  
3 with the confirmatory action order in this area.

4 This is of tremendous concern because it  
5 demonstrates an unwillingness on the part of the  
6 Nuclear Regulatory Commission to effect the  
7 enforcement. Now, you can establish operator manual  
8 actions and substitute them for operable fire barriers  
9 or minimal separation requirements but if, in fact,  
10 there's no resolve to enforce operator manual action  
11 criteria, then we simply move to a new level of non-  
12 enforcement policy and the public is quite disturbed  
13 by this. And in fact, this is what draws a lot of the  
14 controversy and the media attention to this issue is  
15 that while it's true that there is an exemption  
16 process --

17 CHAIRMAN ROSEN: Hold on, let me go back  
18 to the prior --

19 MR. GUNTER: Certainly.

20 CHAIRMAN ROSEN: What is this FPL 50.59  
21 analysis significant for?

22 MR. GUNTER: Well, the --

23 CHAIRMAN ROSEN: FPL is the licensee?

24 MEMBER SIEBER: Yeah.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. GUNTER: Yes, sir. Well, here's what  
2 -- it's a follow-on.

3 CHAIRMAN ROSEN: Oh, I see.

4 MR. GUNTER: It's a follow-on to the  
5 triennial fire protection inspection. Let me just  
6 add, though, if you will --

7 CHAIRMAN ROSEN: Your slides in there, it  
8 shouldn't be FPL. It should be FPC, I think.

9 MR. GUNTER: I'm sorry.

10 CHAIRMAN ROSEN: I got confused.

11 MR. GUNTER: Okay, I see. But the 10.59,  
12 50.59 analysis as reviewed by NRC they found that the  
13 licensee did not consider complexity of new local  
14 manual actions, the number of manual actions and time  
15 available for completion, availability of instruments  
16 to detect system and component mal-operations, human  
17 performance under high stress, effects of products of  
18 combustion on operator performance and available  
19 manpower timing and feasibility of local manual  
20 actions.

21 CHAIRMAN ROSEN: And all of these comments  
22 have to do with Florida Power Corp., FPC.

23 MR. GUNTER: Yes, sir, okay, Florida Power  
24 Corp., thank you.

25 CHAIRMAN ROSEN: Okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MR. GUNTER: As I was saying, you know,  
2 there is an exemption process built in to Appendix R  
3 for approaching III.G.2 problems. However, it's our  
4 concern that codifying an exemption process into  
5 Appendix R essentially defeats the primary strategy of  
6 having protection systems in place for redundant  
7 trains in a common fire area. Exemptions are intended  
8 to be used sparingly, for unique circumstances and  
9 more importantly, with a license amendment opportunity  
10 for public safety review process.

11           This III.G.C.1 would effectively be a  
12 workaround for the public safety review process as we  
13 see it. And we feel that it to be unreasonable and  
14 unsupportable to contort a configuration exemption  
15 process into what has already been demonstrated to be  
16 a dubious industry-wide and turn it into a fire  
17 protection standard. I mean, there have been a  
18 significant number of problems associated with a clear  
19 path for the industry to work through an exemption  
20 process. And yet, they obviously didn't want to  
21 pursue that path. And obviously, to us, they even  
22 defied confirmatory action orders to work around these  
23 issues.

24           So to now say that you want to incorporate  
25 this into an industry-wide fire protection standard is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 very alarming. Again, maintaining circuit integrity  
2 and cable functionality is historically central to  
3 defense-in-depth and is rooted in actual fire  
4 experience. It's our concern and believe that local  
5 operator manual actions are more appropriately  
6 regarded as last ditch efforts and not substitutes for  
7 maintaining front line passive fire protection  
8 features.

9           Substituting manual actions for qualified  
10 pacifier protection features we believe significantly  
11 erodes defense in depth and constitutes an undue risk  
12 to public health and safety. As a closing point, we  
13 believe that NRC must first enforce compliance with  
14 what is now a duly promulgated law rather than develop  
15 what really amounts to a compliance strategy that may,  
16 in fact, under -- significantly undermine safety.

17           MEMBER WALLIS: I think this is one of the  
18 issues we brought up earlier is this defense-in-depth  
19 question. And there always is a question when you've  
20 got two things in series. You've got something to do  
21 with the FAR and then you've got something the  
22 operators do. The combination of them works together.  
23 How do you trade off one against the other and how do  
24 you satisfy yourself you've got enough defense-in-  
25 depth? Now you're taking a very conservative approach

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and say you've got to have a very good defense here  
2 and then a very good backdrop and that's defense-in-  
3 depth. The agency seems to be softening and saying  
4 we've got to have a reasonable defense here and then  
5 a reasonable backup. That's good enough defense.

6 MR. GUNTER: Right.

7 MEMBER WALLIS: As long as it's always  
8 qualitative, I don't know how to judge what's good  
9 enough. There's no measure. I don't know how to  
10 judge which of these is right.

11 MR. GUNTER: Well, again --

12 MEMBER SIEBER: The original rules set up  
13 physical apparatus, the physical barriers in  
14 suppression and detection and made it a requirement to  
15 seek an exemption to bolster or add defense-in-depth  
16 through operator action. So the order of priority was  
17 we will do the physical things first and then we rely  
18 on the operators as a secondary thing and that's been  
19 the history of Appendix R. And I think that's the  
20 point you're making.

21 MR. GUNTER: Yes, it's curious to us,  
22 though, and actually it's the subject of another FOIA  
23 that we have yet to receive. Let's remember that the  
24 Browns Ferry fire was rescued by operator manual  
25 action. And yet, in -- you know, fresh from the fire

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 the Nuclear Regulatory Commission opted to preserve  
2 cable functionality and circuit integrity. And you  
3 know, frankly I think what that says is that operator  
4 actions bring us too close for comfort and that the  
5 agency and the fire protection analysis at that point  
6 wanted that extra defense. And so now to propose that  
7 to introduce operator manual actions into that III.G.2  
8 component, I don't see how it can be argued that it  
9 doesn't constitute a reduction.

10 MEMBER WALLIS: You're saying it doesn't  
11 belong in that box that we saw at all, it's something  
12 else.

13 MR. GUNTER: Yes, sir. You know, we would  
14 have no problem with the introduction of three -- of  
15 Appendix R III.P as a stand-alone but to inject it  
16 into the front line fire barrier system and the -- you  
17 know the design features of -- the passive design  
18 features, undermines our first line of defense. And  
19 you know, as such, you know, we would support  
20 developing this criteria for operator manual actions  
21 because it makes sense to -- for the Nuclear  
22 Regulatory Commission to be able to analyze and  
23 qualify operator manual actions and, you know, to  
24 judge them, but just don't make them our front line  
25 protection system.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           CHAIRMAN ROSEN: You see what complicates  
2 this for me, Paul, is that when we talk about operator  
3 actions in the control room, for instance taking an  
4 action to prevent a low steam generator level, we rely  
5 on our operators to scram the plant before they hit  
6 the automatic set point. The automatic equipment is  
7 a backup to the operators. And we train our operators  
8 to sense degrading conditions and to verify the  
9 conditions of degrading and to take the manual action  
10 to take the plant out of service under those  
11 circumstances. If they don't take it quickly enough  
12 the automatic systems will take it out. So you see in  
13 that case we've got -- I think we've got it the other  
14 way.

15           MR. GUNTER: But I understand --

16           MEMBER SIEBER: But that's not true.

17           MR. GUNTER: But I understand that but the  
18 fire still represents, you know, a danger for residual  
19 cooling as I understand it, so you still -- we still,  
20 even after the plant is shut down, you still need that  
21 measure of defense-in-depth to preserve and protect  
22 the plant in that residual cooling period.

23           CHAIRMAN ROSEN: Well, I think we'll have  
24 to end it there in order to give our next speaker his  
25 time. Thank you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MEMBER SIEBER: Let me ask one five-second  
2 question. Your advice to us would be to say that the  
3 rule should not be issued in its present form.

4           MR. GUNTER: Correct.

5           MEMBER SIEBER: Okay.

6           CHAIRMAN ROSEN: Okay, so that's  
7 different. NEI said -- I think NEI said, okay, go  
8 ahead and issue it.

9           MEMBER SIEBER: Yeah, and they would  
10 complain.

11          CHAIRMAN ROSEN: And complain, yeah.  
12 Well, we'll get a third vote here, I guess.

13          MEMBER SIEBER: Okay.

14          CHAIRMAN ROSEN: David, you don't have to  
15 tell us what your vote is up front, but you can be  
16 sure somebody will ask you.

17          MEMBER WALLIS: He might have changed his  
18 mind.

19          MEMBER SIEBER: For the next seven days,  
20 secret ballots are fashionable.

21          MR. LOCHBAUM: Thank you. I also agree  
22 with Paul. I appreciate the subcommittee expanding  
23 our time and also I appreciate the NRC staff  
24 condensing theirs to make that time available. I  
25 appreciate both those. I'd like to -- as far as the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 vote, we agree with NEI and the subcommittee that this  
2 issue should be separated from security issues. What  
3 we would recommend is that the security issues be  
4 resolved before this thing go out for rulemaking  
5 because that has a big impact on what may or may not  
6 be the right thing to do in this context. So we would  
7 say postpone the rulemaking until after the security  
8 issue. That way that will never be done in anybody's  
9 lifetime here because --

10 MEMBER SIEBER: Or you'll do it twice,  
11 right?

12 MR. LOCHBAUM : Well, I don't think it  
13 will ever be done once, so I don't think it will be  
14 done twice.

15 MEMBER SIEBER: Okay, all right.

16 MR. LOCHBAUM : But I still think it's the  
17 right thing to do because security measures do have a  
18 big impact on operator manual action. So I think that  
19 issue it would be wrong to put this out with that big  
20 unknown hanging out there. So it would be -- the  
21 smartest thing to do would be to wait until after that  
22 was resolved. As far as our concerns, we have six of  
23 them. Some of them have been discussed already.  
24 We're concerned that operator manual actions can  
25 reduce safety, can be unreliable. The revisit bad

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 times in the past. They substitute for real safety.  
2 The reward bad behavior and they closely resemble --  
3 I mean where we are today closely resembles the  
4 staff's position on the PWR containment sump issue  
5 which they stress did not think was ready for the  
6 draft safety --

7 MEMBER WALLIS: How do operator manual  
8 actions reward bad behavior?

9 MR. LOCHBAUM : Because the plant owners  
10 who are in compliance, the ones that have not been  
11 breaking the law for 15 years or whatever --

12 MEMBER SIEBER: Have spent a lot of money.

13 MR. LOCHBAUM : -- have spent a lot of  
14 money to do that.

15 MEMBER WALLIS: So it's not the actions  
16 themselves, this allowing operator manual actions.

17 MR. LOCHBAUM: To allow people to break  
18 the law and get rewarded for it is the wrong message  
19 for this agency to send out.

20 CHAIRMAN ROSEN: Now you're going to go  
21 through and tell us why you came to those conclusions.

22 MR. LOCHBAUM : That's correct. As far as  
23 manual actions reducing safety, the staff three years  
24 ago cited a National Fire Protection Association  
25 standard that said that when you substitute manual

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 actions for design features, risk may be increased.  
2 I would agree with Chairman Rosen's point about manual  
3 actions if they're feasible and reliable and all the  
4 things like that, they can provide an equivalent level  
5 of safety. Our concern is that the odds of achieving  
6 that feasibility and reliability are less certain with  
7 manual actions than they are with design features. A  
8 related issue is that with design features, as you do  
9 inspections both NRC and internal licensee inspections  
10 and find problems you hopefully converge on compliance  
11 and a safety level.

12 With operator manual actions, you're more  
13 likely to have oscillations where your good  
14 performance drops and you actually diverge from safety  
15 over time. And it's not as likely to do that with  
16 design features. One of the things I was struck by  
17 the presentations today was the lack of discussion by  
18 the staff and the industry about the past exemptions  
19 under 50.12 that have been granted for operator manual  
20 actions. Some of the discussions that Dr. Wallis and  
21 others had today about safety levels and whether  
22 suppression was or was not needed seems would have  
23 come up in that context and would have provided better  
24 insight on whether these measures are consistent with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 what the staff has granted in the past and also the  
2 regulatory analysis.

3 Will the new rule, if it goes out as it's  
4 proposed, require those to be backfitted if they don't  
5 have fire suppression detection or not? The  
6 regulatory analysis didn't seem to address those  
7 issues and I don't know what the answer is. I  
8 actually tried to do some research on that Monday but  
9 ADAMS went down and --

10 CHAIRMAN ROSEN: Well, the conclusion you  
11 have on the slide may be true but there's also a  
12 conclusion that the staff offered that the risk may be  
13 minimal -- may be increased by only minimally and so  
14 -- and I think both are true.

15 MR. LOCHBAUM : Well, I agree. I don't  
16 think there is one answer because it depends on what  
17 the manual action is.

18 MEMBER SIEBER: Right.

19 MR. LOCHBAUM : Our concern is that there  
20 is a range and if you look at the range of design  
21 features, there you also may have -- the reason we're  
22 here today is the design features weren't met in some  
23 cases. We think over time you'll converge as those  
24 design errors are weeded out whereas in operator

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 manual actions, you actually lose ground over time  
2 because performance isn't there.

3 Cooper Nuclear Station had a problem a few  
4 years ago with just a routine SCRAM, the operators  
5 messed up badly because the operating performance had  
6 gotten so good, they hadn't seen a SCRAM in awhile.  
7 So the familiarity, the performance capability  
8 dropped.

9 CHAIRMAN ROSEN: We hope they see fewer  
10 fires than they see SCRAMs.

11 MR. LOCHBAUM : Well, I'm not proposing  
12 alternatives to have more fires so they can get better  
13 at it. That's not where --

14 MEMBER WALLIS: This doesn't help me much,  
15 though, because risk could also be decreased. Without  
16 some proper measure of risk, I don't really know where  
17 we are.

18 MR. LOCHBAUM : I agree. I think one of  
19 the concerns is, as the staff said earlier, was that  
20 fire modeling can't be modeled or it's impossible I  
21 think was the words they said. You know, so everybody  
22 is basically guessing at this and that's why I led to  
23 the conclusion between the analogue between this and  
24 the PWR containment sump issue. There was concern  
25 that there wasn't enough information on that issue to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 go forward. I think there's even less information on  
2 this issue to --

3 MEMBER WALLIS: So your argument would  
4 have to be when everyone is guessing you need more  
5 defense-in-depth. That would be because you're more  
6 uncertain. Was that your argument?

7 MR. LOCHBAUM : Well, I think if everybody  
8 is guessing, you might as well stick with something  
9 you've had in place for 24 years.

10 MEMBER WALLIS: It might have been lousy.

11 MR. LOCHBAUM : It may be lousy but if --

12 CHAIRMAN ROSEN: It's the devil we know.

13 MEMBER WALLIS: Maybe the operators would  
14 do better if this thing had been in place.

15 MR. LOCHBAUM: That's an interesting  
16 gamble with high stakes. You know, a poker game is  
17 kind of rough. As far as the operator actions may be  
18 unreliable. As Dr. Powers pointed out during an ACRS  
19 meeting two years ago, in this case he was talking  
20 about a fire that actually occurred at River Bend in  
21 1995 or 1996. I have a typo here. The guys were in  
22 the control room, they weren't in the control rood.  
23 That's a different place altogether on the fourth  
24 line. But here --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN ROSEN: Now, was Dr. Powers  
2 actually there to hear them say, "Oh, dear, oh, dear,  
3 oh, dear, oh, dear"? It's in quotes.

4 MR. LOCHBAUM: Yeah.

5 MEMBER SIEBER: Must have been.

6 CHAIRMAN ROSEN: Oh, you're quoting Dana.

7 MR. LOCHBAUM: I was quoting Dana.

8 MEMBER WALLIS: Dana was probably  
9 perplexed when they were saying it.

10 MR. LOCHBAUM: It might have been a  
11 different word. I don't know. The issue is that  
12 Waterford had a fire, they thought it was an  
13 electrical fire. They didn't put water on it for over  
14 an hour even though one of the lessons learned from  
15 Browns Ferry was that you put the fire out even if  
16 it's an electrical fire. The concern here is that's  
17 been drummed into training, as Dr. Powers points out,  
18 there's been innumerable guidance documents and  
19 information notices issued by the NRC and yet this  
20 licensee still didn't get that message, didn't  
21 ingrained it into -- they probably ingrained it into  
22 their training but when the actual event occurred,  
23 that training went out the window and they sat around  
24 in the control room or control rood, befuddled.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           As far as revisiting bad times, the NRC  
2 staff has said that basically many plants or some  
3 plants at least, have returned conditions to what they  
4 were before the Browns Ferry fire, bad manual actions  
5 and no physical separation, fire rep or whatever. I  
6 think also, getting into the issue of the devil that  
7 you know, that issue -- that regulation was  
8 implemented in 1980. Twenty-four years later we're  
9 still discussing compliance with it. Dr. Wallis  
10 pointed out earlier there's been non-compliance for 15  
11 years. The staff clarified that they didn't know  
12 about it except for two years ago. We could go to  
13 this new operator manual actions thing. How many  
14 years down the road will it be before the staff and  
15 the industry actually get into compliance with the new  
16 operator manual actions rulemaking?

17           You know, here we're 24 years later and  
18 we're still not there. What we think this does is  
19 essentially reset the clock on non-compliance and  
20 that's the wrong thing to do. As Paul pointed out,  
21 we'd be not complying with the new regulation instead  
22 of trying to get into compliance with the regulation  
23 that at least has been out there for awhile and has  
24 been understood by many licensees, because not  
25 everybody is in that boat.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   Substitution for real safety, I've eluded  
2 to a few --

3                   MEMBER WALLIS: Now this compliance, I  
4 understand that one compliance would be this 20-foot  
5 separation. There may be a room where an existing  
6 reactor you can't get 20-foot separation without vast  
7 rebuilding of the whole building.

8                   MR. LOCHBAUM: That's not the only  
9 requirement. They also have the one-hour fire wrap and  
10 the three-hour fire wrap.

11                  MEMBER WALLIS: So I think part of these  
12 exemptions respond to that kind of situation where  
13 it's unrealistic to try to get a 20-foot separation by  
14 rebuilding something where it really was impossible or  
15 very, very difficult to rebuild it.

16                  MR. LOCHBAUM: Yeah, we're not advocating  
17 room stretchers.

18                  MEMBER WALLIS: No, but so --

19                  MR. LOCHBAUM: But there are other  
20 provisions of Appendix R that are already on the books  
21 that were implemented in 1980.

22                  MEMBER WALLIS: So you could still put in  
23 a big barrier or something instead of that?

24                  MR. LOCHBAUM: One-hour fire wrap, three-  
25 hour fire barriers.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: So there is something  
2 reasonable that could be done.

3 MR. LOCHBAUM: Or you still have the  
4 provision -- as many plant -- responsible plant owners  
5 have done is seek an exemption under 50.12, not do a  
6 blanket one just to make the paperwork easier for the  
7 staff.

8 MEMBER WALLIS: So you'd still allow them  
9 to seek exemption.

10 MR. LOCHBAUM: Or sure.

11 MEMBER WALLIS: That's the present  
12 arrangement.

13 MR. LOCHBAUM: That's the present  
14 arrangement.

15 CHAIRMAN ROSEN: I don't think that's up  
16 to us or with respect to physical -- that's the rule  
17 in CFR 50.

18 MR. LOCHBAUM: Well, I guess we're not  
19 advocating that that should be eliminated or  
20 discouraged or taken out of the rule. That is a  
21 provision if you can't meet the current parts of 50.

22 MEMBER WALLIS: So your only complaint  
23 with the present system is that it's not being  
24 adequately enforced; is that right?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. LOCHBAUM: Exactly correct, exactly  
2 right.

3 MEMBER WALLIS: So if the present system  
4 were adequately enforced we wouldn't need a new rule.

5 MR. LOCHBAUM: That's right, we wouldn't  
6 be here today if the regulation enacted in 1980 were  
7 simply followed and enforced. The next slide talks  
8 about the substitute for real safety. The staff's  
9 2002 letter points out that many of these non-  
10 compliances, the plants were in compliance and they  
11 took themselves out of compliance due to lack of  
12 understanding or misinterpretation or whatever with  
13 Appendix R.

14 Our concern is Appendix R is fairly  
15 simple. It's 20 feet, one-hour fire analysis, three-  
16 hour fire barrier. It's a little bit easier to  
17 understand if you're on the right side of the line or  
18 if not then these timelines, this feasible actions,  
19 all this analysis, that's much more subjective, that's  
20 much less enforceable.

21 MEMBER WALLIS: So it's more effective and  
22 efficient then, which was the criterion I saw the  
23 staff use for the new rule.

24 MR. LOCHBAUM: Well, never knowing that  
25 you're out of compliance is not more efficient than

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 being out of compliance. You know, it's semantics.  
2 You know, it takes the staff out of a lot of  
3 enforcement paperwork but it doesn't achieve the  
4 safety level that's there because right now, as Paul  
5 pointed out, plants are out there with unapproved,  
6 improperly analyzed operator manual actions. If this  
7 rule goes through, that population will go up as the  
8 regulatory analysis showed with the number of plants  
9 that would go this way. You can't assume that all  
10 those plants would do it right. That's just not the  
11 history of this industry. And our concern is, how  
12 many years would it take for the NRC to catch up with  
13 the fact that those plants are in the wrong space?  
14 The best way to avoid it is not let them get there.

15 The issue about rewarding bad behavior is  
16 that the staff's data shows that not every plant is in  
17 this situation. There are many plant owners who did  
18 the right thing, spent the money, did the homework  
19 right, did the analysis right, did the modifications  
20 right, are in complete compliance with Appendix R  
21 III.G.2 as intended in 1980. This game that's being  
22 played will basically tell those people that they were  
23 suckers for spending that money getting it right  
24 because if they'd just waited long enough, the staff

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 would have changed its rule to allow the under-age  
2 drinkers.

3 CHAIRMAN ROSEN: Well, doesn't it also  
4 suggest that those suckers have a safer plant?

5 MR. LOCHBAUM: But in today's economic  
6 environment, the ability to pay a premium to get that  
7 safety is going away and under this action by the  
8 staff with a deregulated industry, they'll be driving  
9 more people to spend on less safe plants rather than  
10 on --

11 CHAIRMAN ROSEN: Just a comment thing on  
12 those guys who did the right thing.

13 MR. LOCHBAUM: Oh, yeah, I admire them.

14 CHAIRMAN ROSEN: Most people have plants  
15 that don't have this fire risk and since fire is one  
16 of the dominant risks, those people are just in better  
17 shape. It protects their investment and so I'm not  
18 sure sucker is exactly the right word.

19 MEMBER SIEBER: Well, I'm not either. You  
20 know, in the plants where I worked we didn't have  
21 thermal lag but that was a matter of happenstance.  
22 You know, the engineering folks didn't buy it and so  
23 we didn't end up with this huge problem. That doesn't  
24 mean we spent a lot of money not to have that huge  
25 problem. It just means we were lucky, you know.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 CHAIRMAN ROSEN: Well, I understand your  
2 point but sucker is not my choice of words. I think  
3 those people that have done the right thing, have done  
4 the right thing and it's commendable.

5 MEMBER SIEBER: Yeah, and we can move on  
6 then.

7 MR. LOCHBAUM: I just don't -- to reward  
8 those who didn't do the right thing or who were  
9 unlucky just doesn't seem to be the right thing for  
10 the agency to be doing.

11 MEMBER SIEBER: True.

12 MR. LOCHBAUM: I said several times, the  
13 ACRS recently issued a letter on the PWR containment  
14 sump issue saying the staff hadn't quite reached the  
15 gel point for that to go out.

16 CHAIRMAN ROSEN: I wish you wouldn't use  
17 that word in that context.

18 MR. LOCHBAUM: Sorry about that, I didn't  
19 even think of that.

20 MEMBER SIEBER: That's all right.

21 MEMBER WALLIS: I thought it was  
22 deliberate.

23 MR. LOCHBAUM: No, I wish it was but no,  
24 it wasn't. The -- we think this issue is very similar  
25 and added to it is the security issue which doesn't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 effect the containment but does effect the operator  
2 manual actions component.

3 In conclusion, I think our view is that  
4 Appendix III.G.2 as implemented in 1980 provided  
5 crisp, clear requirements for fire protection. The  
6 staff's proposals to substitute a vague, ill-defined  
7 and virtually unenforceable requirement for those  
8 crisp clear regulations and that's unacceptable. What  
9 we thing the manual action that's needed now is to  
10 throw this idea into the --

11 MEMBER WALLIS: Why do they think it's  
12 more effective and efficient because it would seem to  
13 me that one's crisp, clear and easy to enforce and the  
14 other one is vague, ill-defined. The vague, ill-  
15 defined one must be less effective and efficient.

16 MR. LOCHBAUM: They don't have to do any  
17 enforcement action. You can never enforce it, so  
18 there will never be any enforcement conferences.  
19 There will never be any chances where the --

20 MEMBER WALLIS: So it saves money but it  
21 can't be more effective.

22 MEMBER SIEBER: Well, in effect, what  
23 they're doing is moving the review of each exemption  
24 from an NRR reviewer to a region-based fire protection  
25 inspector.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. LOCHBAUM: Right, and because it is so  
2 vague, that region-based fire protection inspector  
3 will never be able to find any non-compliances or  
4 violations, so it saves the staff a whole bunch of  
5 money.

6 CHAIRMAN ROSEN: So in summary, you say  
7 don't do it but certainly don't do it now.

8 MR. LOCHBAUM: Right.

9 CHAIRMAN ROSEN: Until the security issues  
10 are clarified.

11 MR. LOCHBAUM: Right.

12 MEMBER WALLIS: This word "cockamamie"  
13 must be some Americanism that I'm unfamiliar with.

14 CHAIRMAN ROSEN: I looked it up and  
15 couldn't find it.

16 MEMBER WALLIS: What does it mean?

17 MEMBER SIEBER: Yeah, it turned red on the  
18 spell checker.

19 CHAIRMAN ROSEN: I think you very much,  
20 Mr. Lochbaum. Do you have any final comments, I don't  
21 mean to cut you off.

22 MR. LOCHBAUM: Thank you.

23 CHAIRMAN ROSEN: We are going to take a  
24 five-minute break because we've been provided the time  
25 for one by our excellent speakers and come back and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 make our final comments before 5:30. Thank you very  
2 much. Five minute break.

3 (A brief recess was taken.)

4 CHAIRMAN ROSEN: We now are at the stage  
5 of the meeting where I get all the help I can get from  
6 my colleagues to draft the letter for the full  
7 committee, so I would appreciate any thoughts you  
8 might have and I'll tell you what I think, but I'll  
9 start with you, Jack.

10 MEMBER SIEBER: Okay. My comments are  
11 solely mine. They differ from other members and are  
12 subject to change if I gain a greater understanding.  
13 I have a couple of concerns. One of them is that the  
14 way Appendix R was originally structured, it relied on  
15 plant design features like three-hour barriers,  
16 suppression and detection for the main thrust of fire  
17 protection defense and the staff gave exemptions which  
18 are exceptions to the rule for certain operator manual  
19 actions where the physical features of the plant may  
20 not be adequate.

21 I am concerned that we may be losing the  
22 order of importance of these things in the new rule  
23 which makes it very easy for a licensee to self-  
24 construct an exemption and therefore, jump to operator  
25 manual actions as opposed to repairing physical

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 features of -- fire protection features of the plant.  
2 And so, any rules that's finally published needs to  
3 make clear that the original intent of Appendix R,  
4 which is make sure the design features are in place,  
5 and in those rare situations where it's impossible or  
6 totally impracticable to achieve full compliance with  
7 design features, then operator manual actions may be  
8 considered. And so that maybe just puts a little  
9 different emphasis on it but it makes me more  
10 comfortable in that it preserves the original intent  
11 of the writers of Appendix R back in 1979/1980 time  
12 frame.

13 My second comment is that the -- I agree  
14 that security issues need to be evaluated before all  
15 this analysis is performed to justify deviations and  
16 the crediting of operator manual actions because I, as  
17 well as others, believe it will have a significant  
18 impact and so I think that it's -- it should not be a  
19 part of this proposed rule. On the other hand, I  
20 think resolution of whatever action is taken under  
21 this rule has to take into account security issues and  
22 whatever impediments they may present to the  
23 accomplishment of operator action and the analysis of  
24 the timeline. I just think that's important.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN ROSEN: Let me make sure I  
2 understand, Jack. You're saying the security issues  
3 are important. I think everybody agrees but that  
4 you're providing, in your view, two options; one, take  
5 them into account now or provide a mechanism to take  
6 them into account at some later time?

7 MEMBER SIEBER: Yeah, I think either one  
8 from a regulatory standpoint is acceptable, either  
9 alternative. On the other hand, the lateral one is  
10 twice as much work and so, staff may want to take that  
11 into account. And that would be my comments. I'm not  
12 saying don't issue it because of this idea of  
13 prioritizing what gets done first, you know, physical  
14 features and as an alternative, a last ditch  
15 alternative or defense-in-depth thing, operator manual  
16 action as opposed to elevating the ease of  
17 incorporating operator manual actions so that physical  
18 features sort of disappear.

19 That doesn't necessarily say don't issue  
20 the rule. It's fix the rule to make that clear.

21 CHAIRMAN ROSEN: Graham?

22 MEMBER WALLIS: well, I think that yeah,  
23 the question we have is issuing this rule for public  
24 comment. I think we have to have a pretty good  
25 argument if we said don't do it. We'd have to make

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 sure why we were saying that. I wasn't really very  
2 convinced by anything I heard today. I do like the  
3 argument Jack put forth that the original intent was  
4 to have the physical barriers first. If that was the  
5 intent if you go back to it and look at the statement  
6 of considerations or something there, figure out that  
7 was the intent instead of quoting something from some  
8 Federal Register notice 24 years ago, you could  
9 understand the rationale behind the original Appendix  
10 R, we might know what it is we're changing. I think  
11 that staff needs to give us that argument properly.

12 What I missed, as I've said several times  
13 today, was a measure of plant safety. There was all  
14 this talking about it but if someone could convince me  
15 that plants would be safer if we did this, this or  
16 this, then I'd have some basis for making a decision  
17 and I didn't see that. It's all this cursive stuff.  
18 So besides the housekeeping chore of tidying things up  
19 so we don't let people do things without there being  
20 some check on what they're doing and checking whether  
21 or not they're really complying and so on, which I  
22 don't think is that job of ACRS, it's something the  
23 staff should be doing all the time, I don't really  
24 know what ACRS can add. So put out this rule and let  
25 people substantiate their comments on it with good

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 arguments and hopefully some analysis or we'll see it  
2 again.

3 And I think the staff needs to do a better  
4 job of justifying what it's doing based on its effects  
5 on plant safety and what their strategy is towards  
6 assuring plant safety which may be and in the past was  
7 to emphasize the physical things first and then put in  
8 operator actions as a defense-in-depth and so make it  
9 clear what the strategy it to achieving plant safety.  
10 I need that framework before I can really make a  
11 judgment about what's appropriate. And I think we'll  
12 probably end up saying, put this rule out and let's --

13 CHAIRMAN ROSEN: Well, I have three  
14 options. I'll say, "No, staff, you can't put this  
15 rule out the way it is".

16 MEMBER WALLIS: Because it's fatally  
17 flawed in some way.

18 CHAIRMAN ROSEN: It's fatally flawed and  
19 give my reasons. Or, "Yes, staff, you can put it out,  
20 it's flawed but not fatally and here's the flaws". Or  
21 we can say, "It's wonderful" and go with that. I  
22 don't think anybody thinks that. So I think the  
23 options you're suggesting is, yes, it's flawed but  
24 here are the flaws. Put it out.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           MEMBER WALLIS: Well, I think when we  
2 write our letter, we might want to point out some of  
3 these things that need to be sorted out in the process  
4 of public comment.

5           CHAIRMAN ROSEN: Is that where you come  
6 down, pretty much, Jack?

7           MEMBER SIEBER: Well, I think there's  
8 three. Don't put it out, put it out and resolve  
9 comments which will remove some minor flaws, or the  
10 third option is, it has some flaws that ought to be  
11 fixed before it's put out and that's sort of where I'm  
12 at.

13           MEMBER WALLIS: Yeah, I would kind of like  
14 it to be in better shape. I think it should be in  
15 better shape.

16           CHAIRMAN ROSEN: Yeah, I agree with both  
17 of you. It has some flaws that I would like to see  
18 fixed before they put it out. And in particular the  
19 one that bothers me most is the security flaw. Maybe  
20 that's a simple fix. Maybe it's just a clarification  
21 of how one does this, but I would be faced, if I were  
22 back in the plant I used to be at of now knowing how  
23 to do the analysis without having to do it over.

24           MEMBER SIEBER: I think a licensee would  
25 end up doing it twice. It's not clear to me -- I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 think some licensees would say, "Well, I'm going to  
2 drag my feet and not do it at all until I get further  
3 definition of the problem", and that's not a result  
4 you want.

5 CHAIRMAN ROSEN: No, and I don't think  
6 it's possible either because there will be enough  
7 interim check steps where the licensee that's trying  
8 that would --

9 MEMBER SIEBER: Well, all he has to do is  
10 keep track of where the inspectors are and when  
11 they're coming to his plant. Do you know what I mean?  
12 And the other alternative is just giving up and say,  
13 "I'll do it twice", and that has a cost associated  
14 with it. And you may come out with different answers.  
15 You know, if you put all the security things, manual  
16 actions may not look all that attractive and so you're  
17 into doing the physical things that you should have  
18 done in the first place.

19 CHAIRMAN ROSEN: Well, I think my comment  
20 is the security flaws is a show-stopper until some  
21 sort of reasonable process is defined and I think the  
22 staff maybe can address that in time for the next  
23 meeting, maybe not. I think it certainly should focus  
24 on that. I didn't hear much discussion of this but I  
25 understood that the objectives of this rulemaking were

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 really multiple. I went to the trouble of trying to  
2 dig them out. Let's see if I can find it.

3 Four objectives; maintain safety and  
4 increase public confidence, I'm not going to read the  
5 whole objective, they're longer than that but that's  
6 the first one. Provide quality and uniformity in  
7 licensee assessments and documentation, that's really  
8 number 2. Number 3 is, reduce the unnecessary NRC and  
9 licensee burden, that's number 3. Number 4 is result  
10 in more efficient use of resources by both licensees  
11 and NRC. So there's safety, quality and uniformity,  
12 reduce licensee NRC burden and more efficient use.

13 In listening to what NEI said, said and I  
14 think it was the gentleman from Duke Power, that there  
15 are going to be a lot of exemptions with the rule as  
16 its presently put together. So that that's certainly  
17 won't meet objectives 3 and 4 which are to reduce  
18 unnecessary licensing regulatory burden and result in  
19 more efficient use of resources. So of the four  
20 objectives only two of them are likely to be achieved  
21 and two are unlikely to be achieved.

22 MEMBER WALLIS: The most important one,  
23 the safety one, really people didn't have very much to  
24 say about.

25 CHAIRMAN ROSEN: No, no.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: It's a draw.

2 CHAIRMAN ROSEN: So I'm sort of troubled  
3 by doing a rule-making that is on the face of it,  
4 can't get better than about 50 percent in your tests,  
5 Graham, maybe not that high. So I'm troubled by that.  
6 So I'm troubled by security and I'm troubled by not  
7 meeting the objectives of the rulemaking. I'm also  
8 troubled by the idea that fire detection and automatic  
9 suppression requiring that, in order to take credit  
10 for operator manual actions runs counter to the  
11 Commission's preference which has been established  
12 over a long time and embodied in the 1995 policy  
13 statement on PRA and it really runs counter to their  
14 preference to risk-informed and performance-based  
15 approaches. So stick that in and say that's our  
16 article of faith, our deterministic article of faith  
17 and now you can calculate all these things and do all  
18 this --

19 MEMBER WALLIS: They refuse to do any  
20 risk-informed --

21 MEMBER SIEBER: Yeah, but I would agree  
22 with you, Steve, that it's a deterministic rule and  
23 there's no risk information and so what do you do with  
24 that?

25 MEMBER WALLIS: You enforce it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Right.

2 CHAIRMAN ROSEN: Well, I'm troubled by a  
3 little different aspect of it. Maybe I did not make  
4 myself clear, is that if this Commission is trying to  
5 run a regulatory system in a risk-informed,  
6 performance-based way, saying we're going to do that  
7 but the shape of this table is -- before you can do  
8 the risk-informed and performance-based analysis,  
9 risk-informed because you're doing the PRA-like  
10 analysis and performance-based because you're going to  
11 demonstrate the manual actions that your taking, first  
12 you have to agree that you're going to have automatic  
13 suppression and fire detection in the area. That's  
14 not the way you do risk analysis.

15 What you do with risk analysis is you take  
16 what you have and you do the best estimate analysis of  
17 the circumstances, come up with a number and you  
18 assess your uncertainties, and if they're large, you  
19 add defense-in-depth. I mean, that's the standard, so  
20 this is different than that. It starts priority with  
21 the defense-in-depth and then goes off and --

22 MEMBER SIEBER: You can use those  
23 arguments, though to say you really don't need  
24 containment.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER WALLIS: I think we have enough to  
2 go to the full committee and say these are some of the  
3 issues.

4                   MEMBER SIEBER: I think so.

5                   CHAIRMAN ROSEN: Yeah, I'm going to take  
6 a crack at it. Maybe -- I'll certainly put in the  
7 ideas about the rulemaking objective is not likely to  
8 be achieved and the security event stuff. I might  
9 fool around with the thing I just mentioned, a little  
10 bit running counter to the typical way --

11                  MEMBER WALLIS: What do we have? We have  
12 a one-hour meeting with the full committee or  
13 something?

14                  CHAIRMAN ROSEN: One and a half, Marvin.

15                  MEMBER WALLIS: It's just the staff that  
16 presents or do we have other ones?

17                  MR. SYKES: It's just staff.

18                  CHAIRMAN ROSEN: Just the staff unless we  
19 make the -- we have the inputs from the other people.

20                  MEMBER WALLIS: We can share the other  
21 slides with the full committee.

22                  MEMBER SIEBER: Or you can do it and  
23 Steve, in his introduction can summarize what --

24                  CHAIRMAN ROSEN: Well, I'll certainly  
25 mention what's been said.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER SIEBER:  -- what the others have  
2                   said.

3                   CHAIRMAN ROSEN:  But hearing no further  
4                   comments from the members, I look around and ask if  
5                   there's anybody who feels compelled to want to keep us  
6                   from going to supper.

7                   MEMBER WALLIS:  Well, I think it's a  
8                   cockamamie idea to think of going to supper.

9                   MEMBER SIEBER:  How do you spell that  
10                  again?

11                  CHAIRMAN ROSEN:  Thank you very much.  We  
12                  are adjourned.

13                  (Whereupon,  at  5:40  p.m.  the  above  
14                  entitled matter concluded.)

15

16

17

18

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701