

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
Thermal-Hydraulic Phenomena & Materials
and Metallurgy Subcommittees

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Tuesday, February 3, 2004

Work Order No.: NRC-1283

Pages 1-388

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION
+ + + + +
JOINT MEETING
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
(ACRS)
SUBCOMMITTEES ON MATERIALS & METALLURGY AND
THERMAL-HYDRAULIC PHENOMENA

+ + + + +
TUESDAY,
FEBRUARY 3, 2004

+ + + + +
ROCKVILLE, MARYLAND

+ + + + +

The Subcommittee met at the Nuclear Regulatory Commission, Two White Flint North, Room T2B3, 11545 Rockville Pike, at 8:30 a.m., F. Peter Ford and Graham Wallis, Co-Chairmen, presiding.

COMMITTEE MEMBERS:

F. PETER FORD, Co-Chairman
GRAHAM B. WALLIS, Co-Chairman
MARIO V. BONACA, Member

1 COMMITTEE MEMBERS:

2 B.P. JAIN, Member

3 THOMAS S. KRESS, Member

4 VICTOR R. RANSOM, Member

5 STEPHEN L. ROSEN, Member

6 JOHN D. SIEBER, Member

7

8 ACRS STAFF PRESENT:

9 MAITRI BANERJAN

10 BILL BATEMAN

11 CHRIS BOYD

12 JIM DAVIS

13 BOB DOWNIG

14 MICHELLE HART

15 ALLEN HISER

16 KEN KARWOSKI

17 WILLIAM KROTIUK

18 DAVID KUPPERMAN

19 STEVE LONG

20 LOUISE LUND

21 JOE MUSCARA

22 JOEL PAGE

23 WILLIAM SHACK

24 ROY WOODS

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

AGENDA

OPENING REMARKS

Co-Chairman Ford 3

Co-Chairman Wallis 6

OVERVIEW

J. Muscara, RES 8

SGAP ITEMS

3.6, D. Kupperman & B. Shack 40

3.7, Louise Lund 166

3.8, Louise Lund 202

3.1a-3.1

W. Krotiuk

S. Majumdar 290

3.9, M. Hart 375

P-R-O-C-E-E-D-I-N-G-S

8:33 a.m.

CO-CHAIRMAN FORD: The meeting will come to order. This is the joint meeting of the Subcommittees on Materials and Metallurgy and Thermal-Hydraulic Phenomena Subcommittee meeting

I am Peter Ford, Chairman of the Materials and my Co-Chair is Graham Wallis who is the Chairman of the Thermal-Hydraulics Committee.

Subcommittee members are Mario Bonaca, John Sieber, Tom Kress and Victor Ransom.

The purpose of the Joint Materials and Metallurgy and Thermal-Hydraulic Phenomena Subcommittee meeting is to review the staff's resolution of certain items identified by the ACRS in NUREG-1740, voltage based alternative repair criteria. The Subcommittees will review the resolution of the steam generator action plan items which are associated with the differing professional opinion on steam generator tube integrity as well as the status for resolution of remaining items.

The Subcommittees will hear the presentations by and full discussions with representatives of the staff and its contractors and other interested persons regarding this matter on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 particularly those items in the SGAP which the has
2 staff has closed out.

3 The Subcommittee will gather
4 information, analyze relevant issues and facts and
5 formulate proposed positions and actions as
6 appropriate for deliberation by the full Committee
7 on February 5th.

8 Maitri Banerjan is the designated
9 Federal official and the cognizant ACRS staff
10 engineer for this meeting.

11 And the rules for participation in
12 today's meeting have been announced as part of the
13 notice of this meeting previously published in the
14 Federal Register on January 14, 2004.

15 A transcript of the meeting is being
16 kept and will be made available.

17 It is requested that speakers first
18 identify themselves, speak with sufficient clarity
19 and volume so that they can be readily heard.

20 We have received no written comments or
21 requests for time to make oral presentations or
22 statements from members of the public regarding
23 today's meeting.

24 Before handing it over to Graham for his
25 personal comments, I'd like to make a couple of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 requests.

2 The first is that it is my understanding
3 that we are being asked to write a letter commenting
4 on the closure of some of the items. One of the
5 items I would like to have discussed fairly early on
6 is the criteria which the staff have used for
7 closing out an item. These are all specific items
8 which were brought up in the NUREG-1740 in their
9 very localized interest, however they all take part
10 in an overall marriage of all these tasks.

11 So my second question is, is the
12 criteria given by the staff to the completion of
13 these various subtasks, does it take into account
14 the overall objective of this whole program, which
15 presumably is an assessment of the risk associated
16 with these various severe accident actions?

17 Those are my two requests that be
18 covered fairly early on.

19 Graham, do you have any comments?

20 CO-CHAIRMAN WALLIS: Well, I have the
21 same concern. I read a great stack of reports and
22 some of these are very interesting. For instance,
23 there's a beautiful CFD representation of a steam
24 generator. But out of this has to come some output.
25 So something has to be predicted in terms of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 something else, which then goes into the big picture
2 which presumably a PRA of some sort.

3 It's not clear what the inputs are to
4 this analysis or what the outputs are; where they
5 come from, how they relate to the big picture if
6 it's an accident and here's a little piece of the
7 study which is very nice, but you have no idea how
8 it fits into modeling an entire accident sequence
9 and modeling a PRA.

10 When I look at the PRA reports they have
11 a structure. They say you've got to consider A, B,
12 C, D in a sort of a very, very general way. There's
13 nothing specific really which says I need this
14 parameter out of somebody else's work and this
15 parameter -- this is how it fits together. Until
16 you fit all of the bits of work together you don't
17 really know that your overall structure for
18 developing the PRA is going to work. So I'd like to
19 see that. I don't see it at all in any of the
20 reports I got.

21 I don't think you can close out a little
22 piece of this thing and say we've done some CFD
23 until you know that the results of that CFD, what
24 it's able to take as input and what it is able to
25 give as outputs, fit into what you need for the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 overall structure. You cannot close it off by
2 itself. That's a concern that I have.

3 I think that there's been some very good
4 work done on the thesis of this, and maybe it's all
5 clear to you guys how it all fits together and you
6 can tell us. Thank you.

7 CO-CHAIRMAN FORD: Okay. Joe, you got
8 to overall questions; if you could address them to
9 start with and then we'll go into the specific
10 presentation?

11 DR. MUSCARA: Yes. Good morning.

12 CO-CHAIRMAN FORD: Joe Muscara of the
13 RES staff.

14 DR. MUSCARA: Thank you, Peter.

15 Good morning. I think it's a much
16 better morning, weather wise at least, than was
17 predicated.

18 Yes, I agree with your questions and
19 comments. And, hopefully, by the time we're
20 finished with our today meeting, it will become much
21 clear how things fit together. And perhaps there's
22 a little bit of confusion on the purpose of this
23 meeting, so maybe in my short overview I'll try to
24 clarify. I'm quite comfortable and confident that
25 the questions will be answered and you will see how

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the work comes together.

2 In the last detailed meeting we've had
3 with the ACRS was back in September of 2001. Around
4 that same time frame we developed -- actually
5 updated our task action plan for steam generators,
6 and this was based on the NUREG-1740, that is the
7 ACRS recommendations and comments to address the DPO
8 issues.

9 And in October of 2001 the ACRS reviewed
10 and endorsed this action plan. Well, since that
11 time considerable research and evaluations have been
12 completed, particularly in the areas of inservice
13 inspection and nondestructive evaluation, on steam
14 generator tube integrity particularly under main
15 steamline break conditions, on thermal hydraulics,
16 on primary system component response during severe
17 accidents, on PRA and also the iodine spiking issue
18 was revisited.

19 CO-CHAIRMAN WALLIS: Could I ask you
20 then, again, I mean I saw some results from thermal
21 hydraulics and steam generator tube integrity. PRA,
22 I didn't see anyone try to put any numbers into
23 anything or to try to calculate anything. And it
24 seemed to be a general thing. Is a PRA ought to do
25 -- it's sort of like an ASME standard for a PRA.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 But that doesn't tell you what you need for this PRA
2 and that you've got it right.

3 DR. MUSCARA: Yes, precisely.
4 Unfortunately, the PRA work got started a lot later
5 than the rest of the activities.

6 CO-CHAIRMAN WALLIS: It should start at
7 the beginning because it's the structure under which
8 everything has to fit.

9 DR. MUSCARA: Yes. And you're precisely
10 correct. And unfortunate that presentation is the
11 last one of the two day meeting. But over the past
12 year a contract has been put in place for us to work
13 on the PRA. The PRA methodology we're using will be
14 similar to what's been used on the PTS issue. And
15 we also conducted an integration effort, which I
16 will talk about briefly as I go on with my few
17 viewgraphs.

18 So what you have seen, unfortunately,
19 was very initial work on PRA, which was a very
20 general document. We're now getting down to the
21 specifics on what are the inputs and what inputs are
22 coming from and how they'll be used.

23 CO-CHAIRMAN WALLIS: Yes. And the
24 trouble is if you closed out something, you may find
25 when you do the PRA that maybe you shouldn't have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 closed it out because it's asking questions which
2 weren't answered in the work that was done and
3 closed out.

4 DR. MUSCARA: Yes.

5 CO-CHAIRMAN FORD: When you say on the
6 third bullet down "Considerable research and
7 evaluations have since been completed" and you've
8 got probabilistic risk assessment in that list,
9 that's not true? The PRA has not been completed, or
10 has it?

11 DR. MUSCARA: Well, I say considerable
12 research work and activities are ongoing. My view,
13 some of it is completed. You know, the PRA analysis
14 is not done. Those things will be finished in '05
15 and '06. But major pieces of work have been
16 completed. And the idea here was that since the
17 ACRS has not heard from us for quite a while, to
18 give you a progress report. And in that sense I
19 choose some areas where I thought we had enough work
20 done that we could talk about it. And some areas
21 we're not talking about because there just isn't
22 enough work done, or it's to be done in the future,
23 or in fact has been completed.

24 So what I meant to say there by it being
25 completed, it's completed enough for us to talk

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about it. In some areas it is complete enough to be
2 closed, and I'll describe that also.

3 CO-CHAIRMAN FORD: If our letter is to
4 address our approval or comments on items which have
5 been closed out, will you make it clear as we go
6 through the next couple of days which have been
7 closed out and which need a decision or comments
8 from yes?

9 DR. MUSCARA: Yes.

10 MR. WOODS: Joe? This is Roy Woods,
11 ACRS staff.

12 I'm sort of the coordinator of the PRA
13 part of this effort. And on my left here I have
14 Dave Kunsman from Sandia National Lab and Dave
15 Bradley from SAIC. We make the last presentation,
16 but as we go through all this if we can make it more
17 clear how all these pieces fit together, we will.

18 CO-CHAIRMAN FORD: If you could do, that
19 would be a great help. Because I think as far as
20 Graham and I are concerned, at least, the success of
21 this whole DPO resolution rests on a number which
22 takes into account how much is the risk of
23 radioactivity release, how much has that been
24 increased or decreased given the uncertainties and
25 all the proceeding subtasks.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WOODS: Well, our goal is to put
2 together a method that can be used to establish that
3 risk, calculate that risk for any given plant and to
4 demonstrate that method on a sort of a hybrid plant.
5 It won't be any particular plant.

6 CO-CHAIRMAN FORD: Good.

7 DR. MUSCARA: Okay. I think we're
8 getting ahead of ourselves. That's the final thing.

9 CO-CHAIRMAN FORD: Well, the reason why
10 I'm trying to nail it down now, Joe, is that at
11 least two of the members of these Subcommittees are
12 concerned as to where are we going with this and
13 what are we being asked to approve, disapprove at
14 this particular juncture.

15 DR. MUSCARA: Well, I guess from our
16 side we're not asking for an ACRS letter. I mean, I
17 consider this being a progress report on our work.
18 And the reason we're having this meeting is because
19 some ACRS members have expressed an interest in
20 hearing from us because they have not heard for a
21 couple of years.

22 CO-CHAIRMAN WALLIS: So the useful input
23 to you may well just come from reading the
24 transcript rather than from a letter?

25 MEMBER BONACA: Excuse me. Joe, I think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we have gone over that before. I think we need some
2 of the issues we've said is closed out.

3 DR. MUSCARA: No. I'm sorry. I have not
4 said the issues are closed. If I can get through my
5 viewgraphs, then maybe we can --

6 CO-CHAIRMAN WALLIS: Yes. Joe, just
7 talking about the overview, I think it's very
8 important to set the stage because we're going to
9 come back to these questions later.

10 DR. MUSCARA: Yes.

11 CO-CHAIRMAN WALLIS: And if your
12 presentations don't address them, we're going to be
13 in trouble.

14 DR. MUSCARA: I think I will try then --

15 CO-CHAIRMAN WALLIS: So I think it's
16 worthwhile to take a little while now.

17 DR. MUSCARA: At the end we'll go on.

18 CO-CHAIRMAN WALLIS: So I'm going to
19 take not just PRA, but this primary system component
20 response.

21 DR. MUSCARA: Sure.

22 CO-CHAIRMAN WALLIS: What I saw again,
23 it's a very nice piece of work on CFD modeling a
24 steam generator.

25 DR. MUSCARA: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: That's fine. But a
2 steam generator is part of the overall circuit,
3 right?

4 DR. MUSCARA: Yes.

5 CO-CHAIRMAN WALLIS: And you cannot, it
6 seems to me, analyze the whole circuit with RELAP
7 and then say now we're going to analyze the steam
8 generator with CFD because the CFD predicts the
9 behavior of that steam generator which is different
10 from what -- we cannot predict this kind of current
11 flow and so on, right? So now that new model of the
12 steam generator has to be fit into a system model
13 because now you got to model the whole system
14 knowing what you know now about them steam
15 generator, right? It's not clear to me that you've
16 addressed that problem.

17 You cannot look at the component
18 separately without seeing how they fit into the
19 whole model. Because as soon as you learn something
20 new about how one component behaves, it may change
21 the behavior of the whole system.

22 DR. MUSCARA: That's right. And those
23 are the kinds of things we'll be discussing.

24 CO-CHAIRMAN WALLIS: And that isn't in
25 your reports.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. MUSCARA: Okay. Let me address the
2 reports. Again, one of the comments we heard from
3 ACRS was we haven't heard from you. We you have
4 closed out some of these tasks and subtasks, we
5 haven't seen the basis for it. Well, unfortunately,
6 some of the close out letters are not yet to the
7 members. So the idea of the background information
8 we sent you was to give you an update of the work
9 that was done, the tasks that we had closed and the
10 supporting report for closing that task.

11 Again, I want to stress that these are
12 tasks and subtasks that are closed and not issues.

13 CO-CHAIRMAN WALLIS: That's very good. I
14 think we're both saying you can't close something
15 until you know what effect it has on other things.

16 DR. MUSCARA: Okay. Well, sir, let's --

17 CO-CHAIRMAN WALLIS: It's naive to say
18 because you got a nice model for something that
19 that's done it. Because until you see how it fits
20 in with the other models in some systematic way, it
21 may not be what you need.

22 MEMBER KRESS: Well, you can close out a
23 task because it has well defined milestones and
24 stuff. And it may not be sufficient to resolve an
25 issue, but you can close out a task. You may have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to revisit --

2 DR. MUSCARA: This is why I'm
3 emphasizing on closing out tasks. And I had a
4 couple of bullets in there, and I think I'll get to
5 get eventually.

6 MEMBER KRESS: Okay.

7 CO-CHAIRMAN WALLIS: Well, we'll let you
8 go. But I think you see what we're saying.

9 DR. MUSCARA: Yes. And I totally agree
10 with you. But I am hoping at the end of the two
11 days, and probably a lot sooner, this will be all
12 resolved.

13 For this meeting we effectively thought
14 it was a good idea to have the staff and the
15 contractor who actually conducted the work to make
16 the presentations. Because I felt that it was good
17 to have a technical meeting for a change rather than
18 a procedural process kind of meeting.

19 CO-CHAIRMAN WALLIS: Yes, well done.

20 DR. MUSCARA: Now, the presentations
21 will emphasize, again, the technical work that's
22 conducted to essentially describe the completion of
23 some of the tasks and subtasks and milestones.

24 Now, although some of these milestones
25 have been closed, work in some of the these same

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 areas is continuing. And this is based on lessons
2 learned from the prior research and from the
3 refinements we find are needed. Now, in doing this
4 we have also been updating our steam generator
5 action plan so that the action plan, you know, it's
6 a live document. So as we close our tasks and we
7 find we need to do additional work, that task is
8 closed but the additional work is set up and it's
9 identified in the plan.

10 You know, again, we emphasize we closed
11 tasks. And the reason that these tasks are closed
12 is because is because when you look at the action
13 plan what we've said is conduct X tests. Well, the
14 tests were conducted, the results were reported,
15 therefore that particular task could be closed. It
16 doesn't mean the issue is closed. It means that
17 that specific task when we said conduct a number of
18 tests for leak conversion --

19 CO-CHAIRMAN WALLIS: This is a
20 bureaucratic danger, though. You sort of set some
21 tasks and when they're done, you say it's finished.
22 We've done our work. Forget it. And, in fact, you
23 may not have solved what you need.

24 DR. MUSCARA: But what we're doing with
25 these tasks is coming up and developing the building

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 blocks --

2 CO-CHAIRMAN WALLIS: I understand.

3 DR. MUSCARA: -- upon which we depend
4 for doing the final resolution. And much of this
5 work we're talking about essentially feeds into the
6 PRA, so that we can at the end of the program have
7 the right data inputs and do a realistic and an
8 acceptable PRA.

9 CO-CHAIRMAN FORD: So you're looking at
10 this purely as a creation of building blocks so in
11 2005 you can say, right, here's the building blocks,
12 how you going to resolve future issues and these are
13 the issues that we have to do like kinetic --

14 DR. MUSCARA: That's right. And this is
15 how the action plan is set up. It's set up in a
16 number of building blocks. And what we're closing
17 out is the building blocks. But if we find that we
18 need to do refinements or additional work, we will
19 close that out but added a new task to do that
20 additional work.

21 CO-CHAIRMAN WALLIS: As you know, in
22 order for a structure to work the building blocks
23 have to fit together.

24 DR. MUSCARA: Sure. Sure.

25 Now the resolution of these issues

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 really will be based on the staff's utilization of
2 the completed and ongoing research activities which
3 are scheduled in the action plan for 2005 and 2006.

4 I guess at this point I could mention
5 that some issues we consider, you know, closed not
6 just the specific tasks. For example, the jet
7 impingement issue. That issue has been studied and
8 resolved and we presented to ACRS back in September
9 of '01. And we have an agreement that that issue is
10 not an issue that we need to keep following.

11 I think based on the information you
12 hear these next two days, and actually will be
13 covered today, the issue about the effects of
14 propagating flaws during a steamline effect,
15 steamline break event, can also be closed. I think
16 we have enough information that indicates that those
17 loads are not high enough to propagate existing
18 flaws to any degree of interest.

19 CO-CHAIRMAN WALLIS: I'm wondering,
20 again, do you have an objective other than the
21 questions raised by ACRS? I mean, is the objective
22 to develop a risk measure for all these things? Is
23 that your measure? I don't think that's necessarily
24 what the ACRS asked for. We simply said here are
25 these problems you ought to investment.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Does your purpose go beyond that and say
2 we're going to develop risk measures of all these
3 things?

4 DR. MUSCARA: There are a number of
5 activities that we are working on steam generator
6 research and issues. One of the key activities has
7 to do with developing some information on the
8 potential for containment bypass. That's where
9 we've done most of our integration work and where
10 the PRA at this point is addressing. So it's
11 addressing the potential for the containment bypass
12 during severe accident.

13 CO-CHAIRMAN WALLIS: So is it fair to
14 say that the output of all this work is going to be
15 something in a PRA?

16 DR. MUSCARA: It's fair to say that much
17 of the work. For example, one of the issues that
18 ACRS had had to do with our poor understanding of
19 stress cracking. Now we're doing work in that area.
20 That work goes on beyond the resolution of the
21 containment bypass.

22 CO-CHAIRMAN WALLIS: But the ultimate
23 question really is what is the risk associated with
24 something like a main steamline break? Isn't that
25 the main sort of question?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. MUSCARA: That's one key issue that
2 you've had, and we'll address that at this meeting.

3 CO-CHAIRMAN FORD: Is it possible, Joe,
4 that is a very interesting point. I gathered that by
5 reading some of your notes in the SGCB that there
6 are other projects ongoing, like this containment
7 bypass. Is it possible for tomorrow before we go
8 away and have to make some decisions, just give us
9 one viewgraph of how all these other GSIs fit
10 together like this containment bypass thing? Is
11 this question of risk assessment also have been
12 covered in other work that's going on that we don't
13 know about? Is it possible for you to do that?

14 DR. MUSCARA: With the GSIs?

15 CO-CHAIRMAN FORD: Well, I don't know if
16 GSI's the word right word; other projects. You
17 mentioned you had another project going on on
18 containment bypass issues.

19 DR. MUSCARA: Right. No, this is part
20 of the action plan.

21 CO-CHAIRMAN FORD: Okay.

22 DR. MUSCARA: And most of the work we
23 are doing is in the action plan, including the
24 understanding of the degradation.

25 But to respond to the question where

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they come in; it really comes in through the PRA and
2 the object of the PRA at this point is to evaluate
3 the potential for containment bypass.

4 MEMBER RANSOM: Would it be possible to
5 just briefly review what motivated this action plan
6 in terms of either accident sequence or how it
7 arose?

8 DR. MUSCARA: Well, there's an entire
9 ACRS report where a number of issues were identified
10 and where we were told that we were not doing a
11 credible job in certain area. And one of them was in
12 the PRA area.

13 MEMBER RANSOM: Was this because of
14 severe accident concerns?

15 DR. MUSCARA: This is mostly in severe
16 accident concerns, and at that time it was felt that
17 the PRA structure that we had been using wasn't
18 adequate nor were the data inputs. So a lot of this
19 work is aimed at addressing the data inputs to
20 improve the PRA.

21 MEMBER RANSOM: Any particular severe
22 accident sequence or was it just generic, any severe
23 accident?

24 DR. MUSCARA: That, of course, is part
25 of what the PRA folks are doing to try to identify

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the scenarios of interest. The one we worked on
2 mostly in the past has been the station blackout and
3 with the dry secondary.

4 Well, besides the work that's in the
5 actio plan, I wanted to mentioned this morning that
6 we have conducted an integration effort for the
7 steam generation research programs in the different
8 divisions of the Office of Nuclear Regulatory
9 Research.

10 This past summer, sometime between June
11 and October, I held six one day meetings with the
12 technical staff and the technical leads in the
13 different areas of the steam generator work to
14 essentially integrate all the work, to have a common
15 knowledge and understanding of what the overall
16 objective of the program was, and to develop a
17 detailed plan that we could follow and make sure
18 that the work gets done.

19 Maybe I should mention that for the
20 technical leads in research for the various areas
21 are Chris Boyd is the lead for the thermal
22 hydraulics. We have Roy Wood who is the lead on the
23 PRA. Jim Davis is the lead for the steam generator
24 integrity work. And Joel Page is looking at the
25 work on primary system component failures under

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 severe accidents conditions.

2 In addition to the NRC staff we also
3 have the benefit of working with during these six
4 meeting with Dave Bradley from SAIC, who is our
5 contractor and also Sandia, but Dave was nearby so
6 he participated in our meetings and helped us get
7 through --

8 CO-CHAIRMAN WALLIS: I'm sorry. The PRA
9 is the whole. So you're saying essentially what
10 we've said; the PRA integrates everything? So there
11 must be an existing PRA which for some reason is
12 defective and you're improving it? And have you
13 found out what are the defects in the present PRA?

14 DR. MUSCARA: What I was talking about
15 is integrating the work that's going on in research.

16 CO-CHAIRMAN WALLIS: You see, what
17 happened was ACRS looked at your stuff and said gee,
18 that doesn't look very good, that doesn't look very
19 good there. And so you're responding to that. But
20 the overall purpose is not that. It's really to
21 improve a PRA. So someone really should begin. The
22 PRA should stop first and you should say, look, that
23 part of the PRA isn't good. We've got to fix that.

24 So I don't know what you're starting
25 with as a PRA that isn't good enough that needs to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be fixed.

2 DR. MUSCARA: The integration meetings
3 started with the work we are doing, why we are doing
4 it, how it fits together.

5 CO-CHAIRMAN WALLIS: But you see my
6 problem? You're responding to pinpricks from the
7 ACRS rather than the design purpose which is to make
8 a better PRA.

9 DR. MUSCARA: Again, we're developing
10 the building blocks so we can achieve that. And the
11 work is ongoing. Unfortunately, it got started
12 late, but it did get started this past year to
13 improve the PRA.

14 CO-CHAIRMAN WALLIS: Okay. Well --

15 DR. MUSCARA: But the idea was that we
16 needed to get together and decide all the work that
17 we're doing, is it reasonable, does it fit
18 somewhere, is it needed by the PRA? And we've done
19 this. In effect, we identified a couple of areas
20 which were not being addressed because we had not
21 had the integrational meetings. So we did discover
22 a few areas where we needed to incorporate and
23 include--

24 CO-CHAIRMAN WALLIS: So let me ask you a
25 specific question. The question that arose in my

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 mind was you're trying to fix up the PRA. You have a
2 PRA already before the work?

3 DR. MUSCARA: The staff had done a risk
4 analysis --

5 CO-CHAIRMAN WALLIS: And for some reason
6 it was not good enough --

7 DR. MUSCARA: That's right.

8 CO-CHAIRMAN WALLIS: -- to do certain
9 things?

10 DR. MUSCARA: That's right. The ACRS,
11 and I think even the staff concluded that that was
12 not good enough, needed to do better.

13 CO-CHAIRMAN WALLIS: So you --

14 MEMBER KRESS: These sequences are
15 basically evaluated in every PRA.

16 CO-CHAIRMAN WALLIS: So it would be
17 fairly easy to say if we had a different time
18 temperature thing to put it in the PRA, we know how
19 it fits in there?

20 DR. MUSCARA: Well, I think we're taking
21 advantage of the lessons learned from the PTS
22 studies in the PRA. And we are going to try and use
23 similar process that was used --

24 CO-CHAIRMAN WALLIS: So you know the
25 places where it's sensitive to assumptions and so

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on, you know all that stuff because you've got a
2 PRA?

3 MR. WOODS: Joe, can I help you here?
4 Do you want to --

5 DR. MUSCARA: No, go ahead.

6 MR. WOODS: Roy Woods again.

7 Basically what we're doing, and this is
8 restricted to the severe accident in this part, but
9 that's the major place where we think PRA
10 specialists can interact with this. Anyway, that's
11 what we're doing now. We intend to broaden it
12 later.

13 But we basically have obtained the PRA.
14 We're evaluating what needs to be changed and added
15 to it, what's insufficient, what's not completed and
16 that's exactly what we're doing. We're trying to
17 put these pieces together into a coherent model that
18 would allow you to calculate the risk. And these
19 gentlemen on my left have the details of that, but
20 I'd be taking over Joe's meeting if I get into that
21 right now. We have a presentation late tomorrow.
22 But we'll respond to whatever questions or
23 clarifications in the meantime if we can help.

24 CO-CHAIRMAN WALLIS: But this doesn't
25 appear in, say, a CFD report. It doesn't sort of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 say the existing -- well, maybe it does and I missed
2 it. The existing PRA does this, and it takes this
3 input and so on. And because the phenomena are not
4 well modeled, there is uncertainty about how this is
5 related to that, therefore we need a better measure
6 of this. And that's why we're doing the work. And
7 we know when the work's finished because we've got
8 what we were looking for. If that perspective were
9 put on everyone of these things, maybe it would be
10 clear.

11 MR. WOODS: That's what we're trying to
12 do, is to put the uncertainties and the things that
13 aren't included like some of the human actions,
14 we're trying to see what the inadequacies are in an
15 existing up to date PRA and develop a model that
16 will really do this much better than what exists at
17 the moment.

18 CO-CHAIRMAN WALLIS: Right. So I think -
19 - we're not going to ask so many questions, I hope,
20 from now on.

21 DR. MUSCARA: Oh, no. I hope you do.
22 At least you're hitting on things --

23 CO-CHAIRMAN WALLIS: No, but I think
24 it's good to establish some of these ground rules.

25 DR. MUSCARA: But the integration

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 meetings really had to do with we are doing work,
2 why are we doing, where does it fit and how does it
3 fit in getting to the final goal, which is having an
4 improved PRA.

5 CO-CHAIRMAN FORD: Joe, I think this
6 particular graph is very important in resolving
7 Graham and my concerns. Because essentially what
8 it's saying, if I read it correctly, is yes we are
9 taking into account all these integration of these
10 specific items already and the DPO program which
11 we're just evaluating today are just pinpricks, as
12 Graham says, in this overall program.

13 Now, it would be very, very interesting
14 as far as helpful just to show as a flow diagram for
15 each of these different programs, including the DPO
16 program.

17 DR. MUSCARA: Unfortunately, I did not
18 make a viewgraph --

19 CO-CHAIRMAN FORD: Oh, no. Tomorrow will
20 be fine, Joe. It's just so that we know --

21 CO-CHAIRMAN WALLIS: Maybe at the end
22 when you summarize you can show it --

23 DR. MUSCARA: Okay. It shows all the
24 different things put together.

25 CO-CHAIRMAN WALLIS: But that's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 milestones. That's not a logical.

2 DR. MUSCARA: Okay.

3 CO-CHAIRMAN FORD: And so that that we
4 can look at that flow diagram and say, hey, this is
5 where we've got the critical gaps in technology.
6 Like you did the PTS, basically. Exactly.

7 MR. WOODS: The thing he held up, it's
8 got 93 lines, 78 actual lines if you take out the
9 blanks and it shows how all these pieces fit
10 together, at least for the severe accident induced
11 part of it. But we do not want to go into those 78
12 lines with the ACRS.

13 CO-CHAIRMAN FORD: No. I'm not
14 suggesting that you should go into all of it.

15 MR. WOODS: But we have done it; that
16 was what the six meetings were about.

17 CO-CHAIRMAN FORD: But that resolved,
18 just by showing us that, immediately resolves our
19 problem.

20 DR. MUSCARA: I'd be glad to. I avoided
21 doing that because I thought if we started talking
22 about this, we'd get bogged down for two days on
23 just this.

24 CO-CHAIRMAN FORD: Sure.

25 DR. MUSCARA: And I want to have a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 progress meeting, a technical meeting but let you
2 know what the research results have been up to this
3 point.

4 MR. WOODS: I think it would be more
5 like two weeks.

6 DR. MUSCARA: But we'll make sure that
7 you get this.

8 CO-CHAIRMAN WALLIS: So you know how the
9 thermal hydraulic analysis of the steam generator
10 fits into a prediction of the course of an accident?
11 You know how Chris Boyd's work fits into a modified
12 RELAP, or whatever it is that takes into account
13 this new modeling?

14 DR. MUSCARA: Yes.

15 CO-CHAIRMAN WALLIS: You know that?

16 DR. MUSCARA: Hopefully, we will discuss
17 that as the two days go on. But that was the
18 objective of doing all this integration.

19 CO-CHAIRMAN WALLIS: Maybe we'll see
20 that tomorrow then.

21 DR. MUSCARA: And maybe I shouldn't even
22 get into example, but I thought since you had the
23 questions of how things fitted together, I wanted to
24 tell you we have developed this integrated plan.
25 And as an example, the PRA may identify likely

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 combination of events. Then the thermal hydraulic
2 defines the time, temperature, pressure conditions
3 that one obtains based on these events. That
4 information is used by the steam generator tube
5 integrity area by making use of flaw distributions,
6 probably of flaw detection, using integrity models
7 to evaluate the tube failure to burst and leak
8 rates.

9 The same information is used for also
10 evaluating the times to failure, water primary
11 system components, just the feed back were based on
12 these results, whether this leakage or burst is fed
13 back into the thermal hydraulics into the PRA. And
14 eventually we'll have to make use of information
15 aerosol deposition to determine potential release of
16 radioactivity. But this is just a very brief, a
17 very simple example but I wanted to mention that we
18 are integrating and taking a look at these areas to
19 be used in the PRA. And, again, we're right now
20 essentially putting together the building blocks.

21 MEMBER BONACA: Yes, I didn't
22 participate in the DPO. I mean there are
23 essentially -- I mean clearly the -- the barrier
24 performance, those things the tubes provide both in
25 accident analysis and in severe accidents. And if

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you start from that, I mean I think it's a pretty
2 reasonably simple picture of how you propagate the
3 needs to address, in fact, this barrier performance
4 in both conditions.

5 DR. MUSCARA: Yes.

6 MEMBER BONACA: And I don't think it
7 would be too complicated to derive almost, like, you
8 know a statement from each one of them what pieces
9 you need and then these things fall in place.

10 DR. MUSCARA: Yes. And fortunately we
11 have done a lot of work in the past on evaluating
12 integrity of steam generator tubes. Well, what's
13 new in this integrated effort is the work we're
14 doing on the primary system component figures.
15 Because if those components would fail before the
16 steam generator tubes --

17 MEMBER BONACA: Yes.

18 DR. MUSCARA: -- then that's a good
19 situation for containment bypass.

20 MEMBER BONACA: Yes.

21 DR. MUSCARA: So we're spending a lot of
22 time and attention also in coming up to speed and
23 doing better analyses of the other time resistant
24 components.

25 MEMBER BONACA: Yes, even though, I mean

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you can address in the context of this issue. I
2 mean, you know will in fact the steam generator tube
3 provide that barrier of protection that you intend
4 to have or would like to have during severe
5 accidents or will some other component fail before
6 that. And that's why you're going to look at some
7 other component to determine that?

8 DR. MUSCARA: Right.

9 MEMBER BONACA: So I think the logic of
10 the process you're following doesn't seem to be
11 excessively complicated. I mean you could -- and
12 hopefully it will come through in the presentations.

13 DR. MUSCARA: This integrated program,
14 we're planning on having it finished by end of FY-
15 05. Again, there will be some other activities
16 going on, for example, study in degradation. But
17 evaluation of the containment bypass potential will
18 be done by the end of '05. And hopefully all the
19 building blocks and all the bits and pieces that fit
20 together will be done. And our integrated plan
21 shows how those things are done, when and how they
22 fit together.

23 And I think I probably have taken up
24 more than the time you had allowed for me. And I
25 think we can go ahead and get started with the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 technical presentation.

2 CO-CHAIRMAN FORD: Well, actually, we
3 could put your final graph, five. Now you've got
4 two years of work for the end of the fiscal year
5 '05, and you've already heard murmurings, the
6 question about the completeness of the thermal
7 hydraulics inputs, completeness of the PRA inputs.
8 Do you think as a technical guy this is doable by
9 end of fiscal year '05?

10 DR. MUSCARA: Well, yes. That
11 particularly why we had these six meetings with all
12 the staff involved. And we, in fact, you know by
13 doing this process we identified where the
14 bottlenecks were. So we then studied very
15 diligently whether the bottleneck could be improved.
16 And so we reiterate a number of times, but the idea
17 was what we need to do, can it be done and can it be
18 done any sooner if the resources were there.

19 In fact, when we started out it was
20 about another additional year on this. But then we
21 found out by some combinations of tasks, some
22 additional efforts, we were able to improve that
23 schedule. And we feel quite comfortable that by the
24 end of '05 we can --

25 CO-CHAIRMAN FORD: And the end metric in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fiscal year '05 you'll have some sort of algorithm
2 that says that the risk of radioactivity release is
3 a function of, and then you have a whole lot of
4 variables in PRA space for the uncertainties so
5 you'll relate inputs to that?

6 DR. MUSCARA: We will develop the
7 process and in addition we will run the process for
8 a typical plant.

9 CO-CHAIRMAN FORD: Yes. Okay.

10 The very last bullet, now you said that
11 the initial set of presentations for this meeting.

12 DR. MUSCARA: For this meeting, yes.

13 CO-CHAIRMAN FORD: And what I heard you
14 say was that you've essentially addressed the
15 concerns that were raised in the DPO associated with
16 NDE, the concerns that were raised about the
17 extension of a crack, a pre-existing deep flaw under
18 the Δ ps associated with an MSLB; that's been
19 resolved? And the iodine spiking issue has been
20 resolved?

21 DR. MUSCARA: Well, not resolved, but
22 the idea is we'll give you presentations in these
23 three areas.

24 CO-CHAIRMAN FORD: Okay.

25 DR. MUSCARA: Then as we're going

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 through the presentations, I've asked the staff and
2 the contractors to identify which action plan item
3 they're addressing.

4 CO-CHAIRMAN FORD: Right.

5 DR. MUSCARA: And when we look at the
6 status in the action plan, we can see whether it's
7 completed or closed, or not.

8 CO-CHAIRMAN FORD: Good.

9 DR. MUSCARA: But again, those areas
10 where we see it's completed we also need to keep in
11 mind that we might have completed it, but added
12 additional work where we felt it necessary.

13 CO-CHAIRMAN FORD: Jolly good.

14 MEMBER SIEBER: Just to be clear the
15 iodine spiking issue has been addressed but not
16 resolved?

17 DR. MUSCARA: Correct.

18 MEMBER SIEBER: You just said we like
19 the way it is.

20 DR. MUSCARA: Right. We'll give you a
21 progress report, we are on that. I don't think
22 you'll hear anything new on that issue, but I
23 thought since it was an important issue of interest
24 to the ACRS, that it should be on the agenda. And
25 so it is on the agenda and you have the chance to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 comment.

2 MEMBER SIEBER: Well, that's right.
3 Well, there is one page in the pack that you sent us
4 that discusses. So when we get there, we'll discuss
5 it.

6 CO-CHAIRMAN FORD: Before we leave this,
7 before we let Joe off the hook, are all the members
8 satisfied as to what the terms and conditions that
9 we have as we go through this meeting, what we're
10 being asked to do? I mean just so Joe knows up
11 front as to--

12 CO-CHAIRMAN WALLIS: I'm not absolutely
13 sure.

14 CO-CHAIRMAN FORD: Okay.

15 CO-CHAIRMAN WALLIS: I think we'll come
16 around at the end and summarize and see where we are
17 and what we have achieved.

18 MEMBER BONACA: I mean, I know that the
19 action plan, it goes beyond the responses to the PPR

20 DR. MUSCARA: Yes.

21 MEMBER BONACA: Okay. But for the NUREG
22 that we wrote, we did develop a discussion of those
23 scenarios under accident analyses conditions and
24 under severe conditions for which you had
25 expectations on the tubes. And clearly I am

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 confined to that kind of view still, because I see
2 all these pieces and I'm thinking of those scenarios
3 we questioned in that DPO. I don't think there is
4 much more than outside of that. But maybe, you
5 know, as you go through the presentation if there
6 are some issues -- well, they may come up. They'll
7 come up.

8 DR. MUSCARA: Yes, I didn't mention
9 we're concentrating on the three point X items over
10 the action plan. The action plan is broader, but
11 those are the items that really result from the ACRS
12 comments.

13 MEMBER BONACA: Yes.

14 DR. MUSCARA: On the DPO issue.

15 So, I think if we could move on, then
16 we'll get going with the NDE and Dr. Kupperman from
17 Argonne will do the presentation, the probability of
18 flaw detection.

19 DR. KUPPERMAN: Good morning. I'm Dave
20 Kupperman from Argonne National Lab. Bill Shack and
21 I will be presenting the work on the steam generator
22 eddy current NDE.

23 This NDE analysis round robin that I'll
24 be discussing address the conclusions in the ACRS
25 report that improvements can be made over the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 current use of a constant probability of detection
2 for flaws. This round robin effort results in
3 probability of detection as a function of flaw
4 depth, voltage, location and m_p for 7/8 inch alloy
5 600 tubing. m_p is the stress magnification factor
6 in the ligament.

7 In this presentation Bill and I will
8 review the round robin and including discussion of
9 the designs, fabrication of flaws, characterization,
10 validation of depth sizing. And then I'll present
11 the results of the round robin, which will be that
12 POD is a function of these three parameters.

13 We'll also look at team-to-team
14 variation of the POD. The round robin included 11
15 different teams analyzing exactly the same data.

16 This review will also discuss the nature
17 of false cause and misses.

18 Other issues addressed are the bottom
19 coil volt issue, the issue of signal-to-noise and
20 finally a discussion on the array probe, the so
21 called X-Probe as a potential advancement in eddy
22 current NDE.

23 The objective then of this round robin
24 effort is to evaluate and quantify the inspection
25 reliability of the current methods being used for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 inservice inspection for the flaws of interest
2 today. As I indicated, this will include the POD
3 and also sizing accuracy. To validate the methods
4 employed using both laboratory and field generated
5 flaws.

6 On the left you see a photograph of the
7 Argonne/NRC steam generator mock-up. It sits on a
8 platform so that when we do inspect the tubes with
9 the flaws in it, we simulate the more or less
10 geometry of the actual inspection in the field.

11 To the right of the stand is a hut that
12 contains the instrumentation and the computers,
13 software, probe driving apparatus; all of which
14 exactly reproduces that which is used in the field.

15 On the right you see a schematic of the
16 mock-up. There are 400 tubes. Each tube contains
17 nine test sections for a total of 3600 test
18 sections. Over 300 of them have flaws in them.

19 The lower part is a simulation of tube
20 sheet. These red lines indicate simulation of a
21 drilled hole support plate and the remaining five
22 levels are free span. And all of the levels have at
23 least some flaws in them.

24 In this slide you see on the left a
25 micrograph of one of the flaws that indicates that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we can have rather complicated stress corrosion
2 cracks in addition to rather simple ones, as might
3 be indicated on the right through the dye penetrant
4 indication of the log interest there.

5 All of the text sections that have OD
6 flaws, OD cracks are evaluated with the dye
7 penetrant

8 CO-CHAIRMAN FORD: Could I ask a general
9 question here, and it's more for my interest? The
10 fact that you've produced the cracks by
11 nonprototypic environments and potentially different
12 crack methodologies -- I mean, I'm fishing here. I
13 don't know what the answer is.

14 CO-CHAIRMAN WALLIS: That's a good
15 question.

16 CO-CHAIRMAN FORD: Has there been a
17 qualification done of the type of cracks as to
18 whether you're introducing a different flue
19 phenomena or whatever it is in this crack? I know
20 you must have addressed it.

21 DR. MUSCARA: Yes. I think all of us are
22 eager to respond to that. It's in the presentation,
23 so we could wait.

24 CO-CHAIRMAN FORD: Okay.

25 DR. MUSCARA: But realistically we have.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now we made sure that the methodology of the cracks
2 and the signal response is similar to what one sees
3 in the field. And we did this through --

4 CO-CHAIRMAN FORD: So you have done --

5 DR. MUSCARA: -- metalographic studies
6 and through an expert group. So we put together a
7 task group to make sure that the procedures we were
8 using are the same procedure being used in the
9 field, that the documentation developed is the same
10 documentation that a utility develops before an
11 inspection, and to make sure that the signals likes
12 just like the ones you see in the field.

13 I mean, there's a great variety of
14 signals that you see in the field. And the
15 conclusion was, yes, these things are typical. And
16 I'm sure --

17 CO-CHAIRMAN FORD: And they'll come up
18 later on?

19 DR. MUSCARA: Yes.

20 CO-CHAIRMAN FORD: It's an obvious
21 question.

22 DR. KUPPERMAN: As Joe indicated, we had
23 a task group to review that the signals are
24 comparable to the field and that -- so on.

25 Although there are many cracks in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 mock-up that were created using a doped steam
2 technique by Westinghouse, most of the stress
3 corrosion cracks are carried out using the sodium
4 tetrathionate at room temperature.

5 MR. SHACK: But again, the cracks are
6 prototypic both in terms of the general morphology,
7 that is we had situations where we have a signal
8 plainer crack, we have a raise of cracks, we have
9 ligament that cracks. The most important thing from
10 here is, in fact, the eddy current response for the
11 NDE portion. And as Dave will mention, we have
12 people that review the signals from these that
13 essentially kind of qualify the signals. So they're
14 typically in both the morphology and the eddy
15 current response.

16 Now, obviously, things like the crack
17 growth rate, you know, have absolutely no
18 relationship whatsoever to the real world. But the
19 things that we're focusing on here are reasonably
20 prototypic.

21 CO-CHAIRMAN FORD: I've got questions
22 along the same line. These are OD cracks,
23 presumably produced crevices.

24 DR. KUPPERMAN: Some are ID

25 CO-CHAIRMAN FORD: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. KUPPERMAN: The mock-up contains
2 both.

3 CO-CHAIRMAN FORD: The amount of
4 variability between the various steam generator
5 designs and this tube support plate designs, the
6 circumferential ones versus the quatrefoil,
7 etcetera, designs, that doesn't introduce another
8 variable, different environments, different tube
9 support plate geometries? Is that a big variable
10 that should be taken into account in this issue?

11 DR. MUSCARA: Yes, it does. We've
12 addressed some of those. But we are concentrating
13 on the drilled support plate.

14 CO-CHAIRMAN FORD: Yes.

15 DR. MUSCARA: But had we produced
16 conditions that the support plate at the top of the
17 tube sheet where we in effect simulated the
18 fabrication of a tube in a tube sheet so the tube is
19 very tightly --

20 CO-CHAIRMAN FORD: Yes.

21 DR. MUSCARA: -- in an insert. There
22 is a roll transition. We varied the amount of the
23 depth of the roll transition to simulate a number of
24 different situations.

25 We have dents at the support plate.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Different levels of dents again so that it can
2 simulate dents at different locations.

3 So there's a long history with this
4 mock-up. It originally started with our first
5 international program at PNL many years ago when we
6 started to assemble this mock-up. And originally
7 the idea was to use this mock-up for -- performance
8 demonstration. Originally inspectors were going to
9 take this on the sides, much like they have done
10 with piping and IGSEC to have the inspectors
11 demonstrate their capability. So this was with an
12 inspection program that ran out of Region One for a
13 number of years. That program is no longer in
14 place. The NRC no longer goes out with mock-ups.

15 At that point then we decided to change
16 the objective of this generator and then we used it
17 for conducting research and to simulate typical
18 generators and be able to evaluate the probability
19 of flaw detection using the current techniques.

20 But in building these mock-ups we took
21 all kinds of pains to make sure that we were
22 producing the actual condition one sees in the
23 field, including things like sludge and -- and
24 copper and dents and roll transitions and so on.

25 CO-CHAIRMAN FORD: Thank you, Joe.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: Thank you for this
2 figure. I hope you'll talk about it, because the
3 report tells me nothing about this kind of thing.

4 Okay. Please describe this figure so I
5 understand what's being done.

6 DR. KUPPERMAN: Well, the purpose of
7 this figure is to indicate that there are two probes
8 used in an inservice inspection. On the left is a
9 computer representation of the so-called bobbin
10 coil, which is essentially a screening probe. It
11 runs very quickly through the steam generator tubing
12 model, as I indicated here, nominally around 20
13 inches per second.

14 And I have a probe that I'll pass
15 around. And it looks for -- this computer
16 calculation is actually showing you the currents
17 that are generated. But the main point is that as
18 the --

19 CO-CHAIRMAN WALLIS: Tell me again,
20 what's the input? Are the coils excited in some
21 way?

22 DR. KUPPERMAN: Yes.

23 CO-CHAIRMAN WALLIS: What's its measure?

24 DR. KUPPERMAN: Excite currents in the
25 tube --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: Does it measure so
2 me impedance or --

3 DR. KUPPERMAN: And then you can change
4 an impedance as it passes a defect.

5 CO-CHAIRMAN WALLIS: So okay.

6 DR. KUPPERMAN: And it's reflected in --

7 CO-CHAIRMAN WALLIS: So that the current
8 that it's able to generate when it's given voltage
9 is dependent on what it sees around it. So when we
10 see things like current -- voltage and phase angle
11 and so on, does that mean you've got a certain
12 current and you're looking at the voltage you need
13 to drive it or something?

14 DR. KUPPERMAN: You're looking at the
15 voltage. You unbalance the bridge and you see the
16 voltage run --

17 CO-CHAIRMAN WALLIS: Your output is
18 voltage and phase angle.

19 DR. KUPPERMAN: Right.

20 CO-CHAIRMAN WALLIS: So current and
21 inputs, is that what it is?

22 DR. KUPPERMAN: Right.

23 CO-CHAIRMAN WALLIS: Well, that's great.
24 Because the voltage of a tube didn't mean anything
25 to me at all.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. KUPPERMAN: No. The voltage was
2 related to a --

3 CO-CHAIRMAN WALLIS: Okay. So there's
4 millions of miles of wiggles come out of this thing,
5 right? Millions of wiggles come out of this thing.
6 And it wasn't clear to me do the experts look at
7 millions of miles of wiggles or does a computer tell
8 you there's a funny wiggle here, you'd better look
9 at it? There must be a computer that sorts the data
10 and gives the experts something.

11 MEMBER SIEBER: Initially.

12 CO-CHAIRMAN WALLIS: Limited set to look
13 at. They don't look at millions of miles of data.

14 MEMBER SIEBER: Initially, right?

15 DR. KUPPERMAN: They look at every inch
16 of the tube.

17 CO-CHAIRMAN WALLIS: They look at
18 everything? They look at all the wiggles?

19 DR. KUPPERMAN: Yes.

20 MR. SHACK: And if they blink they miss
21 something.

22 CO-CHAIRMAN WALLIS: They look at an
23 infinite number of figures like the ones on the left
24 side.

25 DR. KUPPERMAN: Well, they don't have an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 infinite -- it's a continuous trace and they're
2 looking --

3 CO-CHAIRMAN WALLIS: Why do you have an
4 expert? Why don't you just have a computer that
5 says if we get something anomalous, we're going to
6 make an analogous or this blah, blah, blah and we're
7 going to decide if it's significant or not, and if
8 it is how significant. Why do you need an expert at
9 all?

10 DR. KUPPERMAN: When you see a signal it
11 doesn't necessarily mean it's from a crack and
12 that's the problem.

13 MR. SHACK: Right.

14 CO-CHAIRMAN WALLIS: Oh. And what
15 happens when this goes through a tube sheet?
16 Doesn't that change the impedance of everything?

17 DR. KUPPERMAN: We use a different probe
18 for the tube sheet.

19 CO-CHAIRMAN WALLIS: Oh, you do?
20 Okay. The one on the right is so called plus point
21 and that's --

22 CO-CHAIRMAN WALLIS: This thing goes up
23 the tube and the experts look at the wiggles and
24 squiggles?

25 DR. KUPPERMAN: That's right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SHACK: And when it goes through a
2 tube support plate it does -- you know, things do
3 happen and people do process signals to try to --

4 CO-CHAIRMAN WALLIS: And there's a
5 person looking after that, it's not a computer
6 analyzing the data? That seems very strange to me,
7 but I guess it's all right. It's like a colostomy,
8 you know. Several doctors look at this and say, gee
9 whiz, there's an anomaly here, we'd be investigate
10 it.

11 DR. KUPPERMAN: It is an art.

12 CO-CHAIRMAN WALLIS: Okay. It's an art.
13 Thank you. That seems very surprising to me. It
14 seemed to me it ought to be computerized.

15 DR. KUPPERMAN: There is automated data
16 analysis that is used as a secondary review of the
17 data. But it's not --

18 CO-CHAIRMAN WALLIS: They actually
19 manage to look at millions of miles of squiggles?

20 DR. KUPPERMAN: We have lots of
21 inspectors looking at data.

22 CO-CHAIRMAN WALLIS: Okay. All right.

23 DR. MUSCARA: That's a good point. You
24 see, that's one of the reasons why sometimes for us
25 it's missed and shouldn't be missed because, you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 know, inattention.

2 CO-CHAIRMAN WALLIS: Wouldn't a computer
3 be better? It doesn't get an attention span.

4 DR. MUSCARA: A lot of research work has
5 been done in trying to use automated systems. It's
6 been fairly successful in UT. There's work done in
7 eddy currents also, but it's not something that's in
8 practice. And the reason is that, you know, no two
9 signals ever look alike so it's very difficult to
10 come up with parameters.

11 CO-CHAIRMAN WALLIS: So what they do,
12 they're looking at a screen, let's say. And it
13 doesn't have to be on real time, but they've got a
14 record. And they say now we're looking at this
15 thing going up the tube. We see all these wiggles
16 and squiggles. Gee, there's a big squiggle. We'd
17 better like at that. It's like an EKG or something,
18 something anomalous about this particular signal.

19 DR. MUSCARA: Yes.

20 CO-CHAIRMAN WALLIS: Very qualitative?

21 DR. MUSCARA: That goes on in the
22 process of an inspection, that does go on.

23 CO-CHAIRMAN WALLIS: Yes. Okay.

24 DR. MUSCARA: There's five different
25 inspectors, they look at the signals. And it goes

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 up --

2 CO-CHAIRMAN WALLIS: If they blink?

3 Okay. Okay.

4 DR. KUPPERMAN: The idea is that there
5 are several people looking at -- there's two people
6 initially looking at the same data and they could
7 have a computer that would trip a further analysis.

8 CO-CHAIRMAN WALLIS: And this surface
9 writing thing is kind of similar, only it goes along
10 the surface instead of down the middle.

11 DR. KUPPERMAN: Yes. This is a probe
12 that's typically used. There are three coils on it
13 and it rides against the inner wall of the tube and
14 it's rotating.

15 CO-CHAIRMAN WALLIS: And they rotate it?
16 That's what the rpm means?

17 DR. KUPPERMAN: But it's slow. And it's
18 used -- for the tube sheet this probe is used for
19 100 inspection of the tube sheet, so this is --

20 CO-CHAIRMAN WALLIS: But it can't go
21 around the outside. It only goes around the inside?

22 DR. KUPPERMAN: Yes, it goes around the
23 inside.

24 CO-CHAIRMAN WALLIS: Ah. So it doesn't
25 go around the outside? So you can't look at the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 outside of the tube inside a tube sheet? You can't
2 look at the outside of a tube at all?

3 DR. KUPPERMAN: You can only look at the
4 outside of the tube through the penetration of the--

5 CO-CHAIRMAN WALLIS: Okay. So this
6 rotating thing is more likely to look at the inside
7 of a tube than the outside of the tube. You don't
8 have a rotating pancake for the outside of the tube?

9 DR. KUPPERMAN: Well, there's three
10 coils on here. One of them is a high frequency small
11 coil that is used for the flaws that would be on the
12 inner wall. And then there's a larger pancake coil
13 that an penetrate through to the outside wall of the
14 tube.

15 MR. SHACK: The probe always goes
16 through the tube.

17 DR. KUPPERMAN: But the probe is always
18 inside the tube.

19 MR. SHACK: You change some of the
20 parameters so that you intend to pick up more
21 signals from the ODs and the IDs.

22 CO-CHAIRMAN WALLIS: More stuff from the
23 outside. Okay.

24 MR. SHACK: One of the things about this
25 rotating probe is that perhaps isn't as quite as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 apparent here is that it's focusing on a very small
2 area of the tube. And so you're measuring the
3 impedance change over a very small localized area.
4 The bobbin coil is integrating over the whole tube.

5 CO-CHAIRMAN WALLIS: Right.

6 MR. SHACK: And so you get different
7 types of information from the tube. You get much
8 more detailed information from the rotating pancake
9 coil. The price you pay for that, of course, is you
10 have to analyze.

11 CO-CHAIRMAN WALLIS: Right.

12 MR. SHACK: If you think you have miles
13 going this way, just imagine rotating around the
14 thing as you're doing the pitch. Yo know, you've
15 got gazillions of miles as it screws through the
16 thing.

17 CO-CHAIRMAN WALLIS: That's true as it
18 screws around in the tube.

19 Okay. And it's able to see the outside
20 of the tube about as well as the inside?

21 MR. SHACK: We'll come to that.

22 CO-CHAIRMAN WALLIS: Okay. Okay.

23 DR. KUPPERMAN: It's easier to see the
24 flaws on the inside in general, unless --

25 MR. SHACK: But the basic physics gives

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you the answer that you think you know, which is
2 it's easier to see --

3 CO-CHAIRMAN WALLIS: All this jargon
4 about over coils and spin coils and various words
5 that I don't understand at all means --

6 MR. SHACK: He'll explain it.

7 CO-CHAIRMAN WALLIS: He's going to
8 explain it? You're going to explain it? Thank you.
9 Because it's not explained in the report.

10 DR. KUPPERMAN: We'll address these
11 ideas.

12 CO-CHAIRMAN WALLIS: Okay.

13 DR. KUPPERMAN: It's all in the book.

14 CO-CHAIRMAN WALLIS: So they look at
15 things like the next figure?

16 DR. KUPPERMAN: No, those are two
17 different coils.

18 CO-CHAIRMAN WALLIS: No, but they have
19 to look at -- look for hours at something like the
20 figure on the right hand side which is wiggling
21 around all over the place?

22 DR. KUPPERMAN: Twelve hour day and they
23 work seven days a week.

24 CO-CHAIRMAN WALLIS: And then they see,
25 gee, we'd better stop. Turn it back, let's look at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that in more detail because it looks funny?

2 DR. KUPPERMAN: Yes. You're precisely
3 right.

4 CO-CHAIRMAN WALLIS: Ah, a computer
5 ought to do it much better.

6 DR. KUPPERMAN: The computer can tell
7 you -- it's automated data, it can tell you that
8 there is a signal of interest.

9 CO-CHAIRMAN WALLIS: Right. Do that
10 first as a screen and then look at them.

11 DR. KUPPERMAN: But we still rely on the
12 humans.

13 CO-CHAIRMAN WALLIS: Okay.

14 MR. SHACK: As a pattern recognition
15 device, a human being is not bad.

16 DR. KUPPERMAN: The brain is really
17 better than the computer.

18 CO-CHAIRMAN WALLIS: That's right. As
19 long as the attention can be maintained for 12
20 hours.

21 DR. KUPPERMAN: And these people are
22 trained very well.

23 CO-CHAIRMAN WALLIS: Right.

24 MEMBER BONACA: This always assumes that
25 the defects are known so you can characterized this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 type of defect with this kind of trace, right?

2 DR. KUPPERMAN: If you have a history of
3 a certain kind of flaw, you know the pattern and
4 that's fine. But the problem arises when a new flaw
5 is generated that you haven't seen before.

6 MEMBER BONACA: Yes. And then that would
7 challenge their ability to interpret?

8 DR. KUPPERMAN: That's absolutely right.
9 Or if it was a flaw that you thought could not
10 appear in this location, you might not spend a lot
11 of time at that location.

12 CO-CHAIRMAN FORD: Then could you just
13 walk us through the --

14 DR. KUPPERMAN: Yes, I have a lot to
15 review.

16 So basically what the analyst will do is
17 look at this linear trace with -- it's the vertical
18 component of a -- figure. And they'll looking for a
19 jump in the signal. If they see it, then they look
20 at the Lissajous figure, which can give you some
21 information. But what happens mainly is that you go
22 to that point with this rotating point that I passed
23 around, which generates a three dimension image of
24 the anomaly. And even though this is just an
25 amplitude product, just plots the amplitude from the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 rotating coil, that plus point coil, it does gives
2 you a general idea of what's going on. And through
3 experience and through training and through
4 validation procedures and testing they can get
5 information also from the Lissajous figures to come
6 to a conclusion --

7 CO-CHAIRMAN WALLIS: So the analogy with
8 all kinds of medical instrumentation is very good.
9 I mean, I'm more familiar with that than with this
10 stuff. But very similar.

11 CO-CHAIRMAN FORD: But there is enough
12 empirical information, presumably, to correlate
13 those signals that you show in that little box on
14 the right hand side to a physical phenomena such as,
15 for instance, say surface region versus a cracked
16 region, versus crude on the surface on the OD? I
17 mean, there's enough empirical observation to make
18 that judgment?

19 DR. KUPPERMAN: Well, there are certain
20 rules that they follow. For example, how does the
21 Lissajous figure rotate, does it change the
22 frequency? Does it rotate counter clockwise or
23 clockwise? That already tells me something.

24 CO-CHAIRMAN WALLIS: Do the frequencies
25 vary throughout the experiment or he has a choice of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 changing it?

2 DR. KUPPERMAN: As you go deeper and
3 deeper into the analysis of an indication, you vary
4 the frequencies, see how the frequency changes.

5 CO-CHAIRMAN WALLIS: Well, you go back
6 and do the experiment again?

7 DR. KUPPERMAN: The data is all
8 collected.

9 CO-CHAIRMAN WALLIS: They just collected
10 a response to frequencies. Ah.

11 DR. KUPPERMAN: It's all collected once.
12 And then you go back and you say well these --

13 CO-CHAIRMAN WALLIS: So it's a signal
14 which has a mix of frequencies in there?

15 DR. KUPPERMAN: Yes, you use four
16 frequencies.

17 CO-CHAIRMAN WALLIS: Okay.

18 DR. KUPPERMAN: And you screen with one.

19 CO-CHAIRMAN FORD: So in other words,
20 when it comes down to look at probability detection,
21 you're looking at not only team tiredness, human
22 errors plus uncertainties in the physical analysis
23 of those wiggles --

24 MR. SHACK: That's correct.

25 CO-CHAIRMAN FORD: -- i.e., crack,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 crude--

2 MR. SHACK: Geometry.

3 CO-CHAIRMAN FORD: You never know unless
4 you do a direct examination. Okay.

5 DR. MUSCARA: Maybe I could comment very
6 briefly, make sure that you don't have the wrong
7 impression. Eddy current tests you do not really
8 get the kind of detail that you were discussing.
9 You can get fairly easily whether you're looking at
10 a flaw that's volumetric, for example, corrosion,
11 large patches of corrosion or whether it's crack
12 like. But to break it down much finer, it's not
13 quite possible.

14 By looking at the way the signal moves
15 and the different planes you can tell whether it's
16 ID or OD, etcetera. But to get down things like
17 code work, mostly information we get from eddy
18 current is really based on our experience we have
19 with observation of particular location. So the
20 inspectors depend a great deal on location and what
21 they expect to see at that location.

22 As Dave mentioned, if it's something
23 that's new for the first time, very often it's
24 missed by the inspection. So, you know, you can
25 tell it's ID or OD, is it volumetric, is not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 volumetric. And by knowing the location you assume
2 it's a --

3 CO-CHAIRMAN WALLIS: You have to have a
4 lot of experience.

5 DR. MUSCARA: Right.

6 CO-CHAIRMAN WALLIS: It's sort of like
7 sonar in the submarine or something. Unless you've
8 had a lot of experience, you don't know what it
9 means at all.

10 CO-CHAIRMAN FORD: So in terms of
11 ranking uncertainties, a big question will be is the
12 crack circumferential or axial? Is the amount of
13 information that we have to show it would indicate
14 that the uncertainty in making that decision is very
15 low?

16 DR. MUSCARA: Yes, it is. I mean, if
17 you can detect the crack, you can determine if its
18 circumferential or axial. Detecting it is another
19 problem.

20 CO-CHAIRMAN FORD: Okay.

21 DR. KUPPERMAN: Most of the time you can
22 determine if it's circumferential or axial. It's
23 possible to have a series of small axial cracks
24 going around the circumference that could look like
25 a circumferential crack but a really good analyst

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 could sort out the data and come to that conclusion.

2 CO-CHAIRMAN WALLIS: Okay. Could we ask
3 about this really good analyst? Is this someone who
4 has been trained for a week or is it someone who has
5 had ten years of experience?

6 DR. KUPPERMAN: Years of experience, and
7 then they have to pass qualifying examines to make--

8 CO-CHAIRMAN WALLIS: This is why, again,
9 you got very small band of people who understand how
10 to do this right?

11 DR. KUPPERMAN: They're very well
12 trained.

13 MEMBER SIEBER: Well, you end up with a
14 team. You have a level two guy --

15 DR. KUPPERMAN: There are five people
16 that are involved in that, in looking at this data.

17 MEMBER SIEBER: And anything that's
18 strange, the level one guy will look at, you know.

19 DR. KUPPERMAN: Somebody collects the
20 data, and then more trained people analyze it.

21 MEMBER SIEBER: Yes.

22 CO-CHAIRMAN WALLIS: It's even more
23 reason for having computers sort it out first so you
24 -- you're relying on this. There's a huge amount of
25 experience. You've got to have an expert with years

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of experience.

2 MEMBER SIEBER: They actually watch the
3 probe move. The computer is looking at it and
4 trying to characterize it. Somebody is watching it
5 there. You know, it can't be --

6 CO-CHAIRMAN WALLIS: But it's a
7 difference. I mean, they have ways of sort of
8 observing. There's all this stuff, invasion of
9 privacy where they're looking at what's happening in
10 some area, as to something anomalous, like a
11 terrorist appearing somewhere. And you have a guy
12 looking at that screen all day and in case something
13 anomalous appears; that's not the way to do it. You
14 have to have a computer that looks -- gee, there's
15 something I want to see. You go and look at it now
16 in detail and see what it is. That's the only way to
17 do it.

18 DR. MUSCARA: Well, that's been tried.

19 CO-CHAIRMAN WALLIS: Only way to do it.

20 DR. MUSCARA: You know Dave mentioned
21 there is qualification performance demonstration
22 requirements.

23 What has happened in some cases with the
24 computerized system is that you miss flaws, and you
25 miss them because the simple parameters that you can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 set up, for example, amplitude, is not always an
2 indicator of a crack being present.

3 CO-CHAIRMAN WALLIS: Then it's not smart
4 enough. It's not smart enough. But if the
5 computer could be made as smart as an expert,
6 because the expert is looking for the same specific
7 things.

8 DR. MUSCARA: And maybe later on you'll
9 hear about an algorithm we've been developing at
10 Argonne --

11 CO-CHAIRMAN WALLIS: Yes, I noticed
12 that.

13 DR. MUSCARA: -- that makes use of some
14 of those kinds of things.

15 CO-CHAIRMAN WALLIS: Yes, it sounds
16 good.

17 DR. MUSCARA: But it's now in the
18 future.

19 CO-CHAIRMAN WALLIS: Sounds good.

20 DR. KUPPERMAN: Well continuing then --

21 CO-CHAIRMAN FORD: Joe, I'm just looking
22 at -- this is really very interesting indeed. I'm
23 just looking at the clock here.

24 CO-CHAIRMAN WALLIS: Yes.

25 CO-CHAIRMAN FORD: Do I understand that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we're going to get through not only this one, 3.6,
2 but also 3.7 and 3.8 before the end of the morning?

3 DR. MUSCARA: Yes, I think you are
4 correct. Right, by 12:15 we'll finish up. But I
5 don't think there's a great deal of discussion on
6 3.7 and 3.8. Louise is here, and she'll be making
7 that presentation. Is that right?

8 CO-CHAIRMAN WALLIS: What is 3.7 and 3.8
9 about?

10 CO-CHAIRMAN FORD: What were they about?

11 CO-CHAIRMAN WALLIS: Just remind me.
12 This is the one where you threw away the French
13 data?

14 DR. MUSCARA: Yes.

15 CO-CHAIRMAN WALLIS: Okay.

16 DR. MUSCARA: And I'm not too sure what
17 3.8 is about.

18 CO-CHAIRMAN WALLIS: IS it about the
19 seven eighth inch tubing or something? Seemed to be
20 somehow different from the --

21 CO-CHAIRMAN FORD: Yes, 3.7 is to do
22 that. And 3.8 has to do with -- I'm not too sure.
23 It's only a one page memo. I'm not to sure what
24 it's saying. They're not going to take up a half
25 hour of discussion.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: I think, Mr.
2 Chairman, now we know what we're doing we might go
3 pretty fast from now.

4 CO-CHAIRMAN FORD: Okay.

5 CO-CHAIRMAN WALLIS: Because it's not as
6 if it gets very complicated later on. Specific
7 outputs.

8 DR. KUPPERMAN: We're trying.

9 On this slide I want to point out that
10 at Argonne we have developed a multi-parameter
11 algorithm to improve on the characterization of
12 flaws. And this algorithm uses the amplitude and
13 phase information at several frequencies to provide
14 both 2-D and 3-D flaw profiles.

15 So, for example, here's a representation
16 of a flaw in a roll transition looking down on the
17 flaw. And down here is the reconstruction of its
18 profile. And the geometry can be subtracted out so
19 we just see the flaw.

20 And the beauty of this is is that you
21 get not just amplitude as a function of position,
22 but you get the actual depth of the profile as a
23 function of position. And you can cut through it
24 and get slices --

25 CO-CHAIRMAN WALLIS: Now, an expert

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 couldn't generate that out of his head, just look at
2 the -- that's much better than the expert.

3 DR. KUPPERMAN: Yes.

4 CO-CHAIRMAN WALLIS: Oh, good. Thank
5 you.

6 CO-CHAIRMAN FORD: Could I ask Joe, this
7 Argonne multi-parameter algorithm, is this used and
8 approved generally within the nuclear fleet?

9 DR. MUSCARA: It is something we have
10 been developing for a number of reasons. One is we
11 needed to have an accurate method for characterizing
12 the flaws in the mock-up because we can't destroy
13 all of them. And so we have been working on this.

14 And the other one is, of course, that
15 it's making improvements in the technology.

16 Now, we've been working on this for a
17 number of years. You know, our program in general
18 is an international program, so we have people from
19 Korea and from Canada, and Westinghouse in the U.S.
20 and EPRI; all these people have been interested in
21 this algorithm. They've asked for them to have
22 access to it so they can try on field data. So some
23 of this has been going on. It's not something
24 that's out there that's qualified yet, but there's
25 an interest. People have looked at it and they're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 trying to see how they could use it.

2 Unfortunately right now, you know, it's
3 not necessarily a computer friendly algorithm and
4 you need an expert who really understands it to get
5 best results. But there is, you know, some
6 activities going on to try in making it more user
7 friendly and being able to transfer the knowledge
8 that needs to go into this to others.

9 CO-CHAIRMAN WALLIS: Well, this is where
10 the action is in all imagining technology right
11 across the boards using the computers. Because they
12 can now do so many things better than experts if you
13 know how to tell them what to look for.

14 DR. MUSCARA: Well, this is a
15 combination. It's based on -- we're calling it an
16 expert system. So it's based on the kinds of things
17 that the experts does to evaluate the signals, which
18 are them permetized and computerized.

19 CO-CHAIRMAN WALLIS: Right.

20 DR. MUSCARA: But you certainly do need
21 to know how to set it up, etcetera, and that's the
22 portion that's not field ready yet. But it has very
23 good potential for being able to fully characterize
24 degradation with respect to its length and depth and
25 location.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN FORD: So as we go through
2 this presentation, the probability of detection
3 figures will come out of this are the best that
4 you'll ever do and in fact on other plants which are
5 using older techniques, below --

6 DR. MUSCARA: What we'll show you is the
7 probability of detection with the currently used
8 techniques as they are used in the field.

9 CO-CHAIRMAN FORD: Right.

10 DR. MUSCARA: This process -- procedure
11 we're using to essentially it's a true state -- to
12 develop the true state of the flaws. Eventually
13 something like this could be commercialized.

14 CO-CHAIRMAN FORD: So the correlation
15 function, if you like, between observed and assumed
16 by calculation were much better for this than it
17 will be for a commercial instrument?

18 DR. MUSCARA: Yes.

19 CO-CHAIRMAN FORD: And that will be
20 taken into account in your conclusions?

21 DR. MUSCARA: Yes. I think Bill will
22 cover how that is being used in developing those POD
23 curves.

24 MR. SHACK: Yes. But the important
25 thing is the POD curves you're going to see are for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the current techniques that are used by industry.
2 We use this technique only -- you know, you're going
3 to see POD curve as a function of depth. Well, how
4 do you know the depth of that crack? We know the
5 depth of the crack because we did this to it.

6 We also had the advantage that we knew
7 exactly where that crack was because we put the
8 crack there.

9 You know, we knew lots of things about
10 that crack that the poor inspector doesn't know.

11 CO-CHAIRMAN FORD: But this is the best
12 you could ever do with the current state of
13 technology?

14 MR. SHACK: We don't measure POD here.
15 I mean, we don't need a probability of detection.
16 We know there's a crack there.

17 CO-CHAIRMAN FORD: So you've got POD of
18 what?

19 MR. SHACK: The POD you see is what the
20 -- the actual field inspector using his techniques
21 uses.

22 DR. KUPPERMAN: On the mock-up.

23 MR. SHACK: Now, again, we will discuss
24 what you see on the mock-up is probably better than
25 you can do in the field because: (1) you're under a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 tech -- well, I don't want to steal Dave's thunder.
2 But the POD curves you see are not POD for this
3 fancy PHD level technique. They're the work a day
4 inspector's techniques.

5 CO-CHAIRMAN FORD: I'm with you.

6 DR. KUPPERMAN: Let me make a comment
7 and maybe you can understand why this is so
8 complicated.

9 Eddy current is a diffusion phenomenon.
10 You can't back out what created the signal like you
11 can in ultrasonic scattering where you can look at
12 the scattered signal and recreate what was there to
13 cause the scattering signal. This is a diffusion
14 phenomenon and you cannot calculate what was there
15 that created the signal. And that's why it comes
16 down to pattern recognition application, and some
17 people looking at it.

18 MEMBER RANSOM: What as the axis on the
19 figure on the left?

20 DR. KUPPERMAN: You talking about this?

21 MEMBER RANSOM: Right. Are those
22 frequencies?

23 DR. KUPPERMAN: I don't want to get into
24 this. These are standards that are used to set this
25 up. These are notches and this is going around the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 circumference. This is axial.

2 MEMBER RANSOM: Well, are those units
3 length or --

4 DR. KUPPERMAN: Those are units. You
5 can get the axial and circumferential position in
6 millimeters or whatever. But those are not --

7 MR. SHACK: For the non-inspector
8 person, the figure on the right is the one you want
9 to look at. It sort of looks like cracks.

10 DR. KUPPERMAN: This is millimeters.

11 Now, in this round robin exercise we
12 want to point out that --

13 CO-CHAIRMAN FORD: I can see you
14 plagiarized from Italy.

15 DR. MUSCARA: Dave's not familiar, but
16 Bill is.

17 MR. SHACK: Yes, we plagiarized from
18 Italy. Geovana's round robin exists forever.

19 CO-CHAIRMAN FORD: Her's used to be in
20 color, right?

21 MR. SHACK: No. This is scanned right
22 from her sketch.

23 DR. KUPPERMAN: Let me go through the
24 round robin in a little bit of detail.

25 First of all, the data that was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 collected was collected by a team from industry that
2 was qualified for collecting data and followed the
3 current practices.

4 Eleven teams analyzed the data, two from
5 South Korea and one from Canada. And all members of
6 the team have had to pass qualification examines.
7 So these are all qualified analysts.

8 CO-CHAIRMAN WALLIS: These are typical
9 of teams who will be doing actual inspections on
10 steam generators?

11 DR. KUPPERMAN: These are people --

12 CO-CHAIRMAN WALLIS: They have five
13 people in their team?

14 DR. KUPPERMAN: -- that do analyses in
15 the field. These are field analysts.

16 And each team consisted of five members.
17 There's a primary and secondary analyst, two
18 resolution analysts and a fifth qualified data
19 analyst, which would resolve any disagreements.

20 CO-CHAIRMAN WALLIS: So there's nothing
21 technically at all? It just deals with people?

22 DR. KUPPERMAN: Most of the time
23 everybody agrees on everything, but not all the
24 time. And, of course, the not all the time flaws
25 are the ones that are causing misses sometimes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So, in addition to that we had a task
2 group make up of members of experts from industry;
3 EPRI and then the various organizations I mention
4 here. And they looked at our documentation. We
5 followed all of the procedures that are involved in
6 an inservice inspection. There's a lot of
7 documentation that has to be put together,
8 guidelines, assessment of the degradation that
9 they're supposed to be looking at. There's a
10 training manual --

11 CO-CHAIRMAN WALLIS: I'm sorry. I think
12 I was being flippant there. Really, the qualified -
13 - really it's like the senior guy in the emergency
14 room. The other guys that process the patient and
15 say we think this guy has something or other, it's
16 so bad we'd better bring in this senior to resolve
17 something and figure out what's really going on. So
18 the really qualified data analyst is the guy who has
19 the most experience and knowledge, wisdom but
20 doesn't have to look at the screen all day?

21 DR. KUPPERMAN: No.

22 DR. MUSCARA: Practically, as Dave
23 mentioned, there are five members of the team.
24 There's a level one and two, which have certain
25 training but they're the lowest level. But there's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 also levels two and three who are the next step. But
2 the qualified data analyst only gets involved
3 rarely.

4 CO-CHAIRMAN WALLIS: The buck stops
5 there, right?

6 DR. MUSCARA: Yes, but he's usually not
7 necessarily the best qualified person. He's usually
8 the person who works for the utility that has
9 qualifications.

10 CO-CHAIRMAN WALLIS: Oh.

11 DR. MUSCARA: And he may turn out to be
12 the best person, maybe not to be the best
13 technically qualified person for eddy current.

14 DR. KUPPERMAN: I think the analogy is
15 the QDA is the guy when they can't decide if the
16 patient needs a heart bypass operation or not, he'll
17 come in and resolve the issue.

18 CO-CHAIRMAN WALLIS: Especially if he is
19 the best qualified, otherwise you may have sort of
20 four technical people arguing and a lawyer trying to
21 decide who is right. It may be the worst way to
22 make a technical decision.

23 MR. KARWOSKI: This is Ken Karwoski from
24 the NRR staff.

25 When plants analyze eddy current data,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 people who actually analyze the data, even the
2 primary and secondary analysts are considered
3 qualified data analysts. And they analyze the data
4 independently. Whatever calls they make go to
5 what's termed a resolution analyst. All these
6 people in this process are considered qualified data
7 analysts or QDAs. And they follow an EPRI
8 qualification process.

9 And so everybody who is analyzing this
10 data as QDAs, the people on the resolution teams and
11 on some of these senior review panels have reviewed
12 the calls by the primary and secondary analysts are
13 more senior, but all the people in this process are
14 considered qualified data analysts.

15 CO-CHAIRMAN FORD: Thank you.

16 MR. SHACK: They're qualified by tests.

17 DR. KUPPERMAN: They're qualified by
18 examines through EPRI.

19 So continuing on then, the task group
20 looked at our documentation and looked at our flaws
21 and concluded that we were following current
22 industry practice and that the flaws in the mock-up
23 had eddy current signals similar to those observed
24 under field conditions. To the extent that it often
25 looked at a flaw, a signal in the mock-up and say

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this looked -- and they would remember some
2 indication in a plant somewhere; oh, yes, that looks
3 like a flaw I remember from someplace.

4 So the -- first the teams look at the
5 bottom coil data and then they look at the MRPC, the
6 rotating coil for those test sections that would
7 have indication that would require further analysis.

8 All of the analysts analyze the same
9 data. The data is copied onto optical disks.
10 They're brought to the location where the analyses
11 is carried out. Argonne provides a proctor. And
12 then their reports are taken back to Argonne and
13 reviewed and analyzed and from which we established
14 the POD using logistic fits to the raw data. And we
15 end up with POD. And Bill is going onto how these
16 curves are created in more detail.

17 But basically you get a POD curve as a
18 function of crack depth, voltage and m_p with
19 confidence limits that reflect the errors in the
20 reference state.

21 CO-CHAIRMAN FORD: Now what was m_p ?
22 What is m_p ? Sorry.

23 DR. KUPPERMAN: m_p is the stress
24 magnification factor in a ligament.

25 CO-CHAIRMAN WALLIS: That's the thing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with the square root dimension and stuff.

2 DR. MUSCARA: It depends on the geometry
3 of the tube.

4 DR. KUPPERMAN: I just want to show just
5 an example of a field Lissajour figure and an
6 Argonne LODSCC figure, and these two are the same.
7 And then the amplitude plots for the same.

8 CO-CHAIRMAN WALLIS: It shows that they
9 look very similar.

10 DR. KUPPERMAN: Very similar.

11 Also, we just took a look at -- you
12 know, when we have a flaw in the bottom coil phase
13 and both it should follow a general trend. We see
14 that generally speaking the higher voltage is
15 associated with lower phase angels as it would be in
16 the field.

17 DR. MUSCARA: But the key point of the
18 graph is that the McGuire sample will essentially
19 trip out of the operating plant. And those were
20 compared to the samples from the lab.

21 DR. KUPPERMAN: That's right. This was
22 a retired steam generator.

23 DR. MUSCARA: You can see that they
24 follow about the same trend.

25 DR. KUPPERMAN: So to characterize the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 flaws. First of all, as I indicated before, we do
2 have dye penetrant indications for all the OD flaws.
3 And we've destroyed some of the mock-up specimens to
4 help validate the sizing technique because we use --

5 CO-CHAIRMAN WALLIS: You use the
6 penetrant after you've done the electrical
7 measurement?

8 DR. KUPPERMAN: Pardon?

9 CO-CHAIRMAN WALLIS: You put the dye in
10 after the eddy current experiment?

11 DR. KUPPERMAN: Oh before.

12 CO-CHAIRMAN WALLIS: Doesn't the dye
13 effect the --

14 DR. KUPPERMAN: No.

15 CO-CHAIRMAN WALLIS: The dye and the
16 space are the same?

17 DR. KUPPERMAN: We checked that. It
18 doesn't effect the signal.

19 For most of the flaws, because we can't
20 destroy all of them, we used a multi-parameter
21 algorithm, and that's through blind testing we've
22 established the uncertainty in that measurement.

23 CO-CHAIRMAN FORD: Do you mind just
24 going back to the previous one, thirteen. What is
25 that telling us?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. KUPPERMAN: Well, we just wanted to
2 make sure that generally speaking if you have a high
3 voltage, you are going to have a low phasing.

4 CO-CHAIRMAN FORD: Okay.

5 DR. KUPPERMAN: That's an indication --

6 CO-CHAIRMAN FORD: Regardless of the
7 depth?

8 DR. KUPPERMAN: Not regardless.

9 MR. SHACK: Basically it relates to the
10 depth.

11 DR. KUPPERMAN: But there's a general
12 trend that doesn't really correlate to the depth.
13 But we don't want to find out that most of our -- if
14 we found out that most of our bottom coil voltages
15 that are high were associated with a very large
16 phasing, we would have a problem.

17 MR. SHACK: If we found our data
18 following a 45 degree line, while this curve is
19 going this way, that wouldn't be good.

20 CO-CHAIRMAN FORD: Maybe because --

21 MR. SHACK: They'd look different.
22 Right.

23 DR. KUPPERMAN: This is just another way
24 to help us to convince ourselves --

25 CO-CHAIRMAN FORD: You're looking at the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 same physical --

2 DR. KUPPERMAN: The view of that, we are
3 in the same -- I guess.

4 DR. MUSCARA: Steam verses lab test,
5 that is the key.

6 CO-CHAIRMAN WALLIS: When the voltage is
7 zero, the phase angel was random.

8 MR. SHACK: It's sort of anything you
9 want.

10 DR. KUPPERMAN: Yes. You pick it.

11 CO-CHAIRMAN WALLIS: Pretty random, but
12 it should be --

13 DR. KUPPERMAN: Yes.

14 Now, you might say well can't you just
15 correlate the bottom coil voltage to depth? Why
16 doesn't that work? And it doesn't. And there's
17 just too many variables involved in the bottom coil
18 volt that comes from an anomaly.

19 CO-CHAIRMAN WALLIS: Even with a 100
20 percent depth you get a very small voltage
21 sometimes?

22 DR. KUPPERMAN: Yes, sir.

23 So these are the flaws that we destroyed
24 so that we have accurate depth measurements on
25 voltages. And this isn't a revelation. I'm just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 showing you as an example that this is the case.

2 MR. SHACK: It's a reminder.

3 DR. KUPPERMAN: The bottom coil voltage
4 does not correlate with depth.

5 DR. MUSCARA: I don't want to delay the
6 meeting, but maybe if you can state in a few words
7 why in some cases this might not help. You know,
8 the signal that you get is essentially is a back EMF
9 from the test. Now, for you to get back EMF the
10 current has to travel.

11 So if you have a notch that's nicely
12 separated, the eddy current has to travel to the end
13 of the notch to get through the material. So that
14 provides a large back EMF.

15 What happens in the cracks is that the
16 notches they're tight, they touch and they have
17 ligaments. So you could have a crack that
18 defectively from a structural point of view may be
19 two inches long but has a ligaments. So as long as
20 the electrons can travels through the small
21 ligaments, the currents go straight through and
22 provided a small signal. Therefore, you can get a
23 crack that's critical size or one that's small
24 giving you a low voltage. A big crack doesn't give
25 you always big voltage unless it's separated.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: But did the crack
2 make a difference or is the impedance of any cracks
3 sort of infinite in the crack itself? Doesn't it go
4 through -- a narrow crack which is so small --

5 DR. MUSCARA: Yes, that's what I'm
6 talking about. If it's very tight --

7 CO-CHAIRMAN WALLIS: It goes back to the
8 question when is a crack a crack?

9 DR. MUSCARA: Well, it's so small --

10 CO-CHAIRMAN WALLIS: I mean it may not
11 have any impedance at all.

12 DR. MUSCARA: But that's the key
13 problem, is that the currents can couple through the
14 ligaments or the faces are touching. If there's a
15 nonconductive crack that's conducted, the crack
16 faces are clean, the signal goes through, doesn't go
17 around the crack providing that signal.

18 MEMBER BONACA: And you would find, just
19 for example, next year when you do again, will find
20 suddenly --

21 DR. MUSCARA: That's right. Sometimes
22 you see large changes in voltage. Well, maybe the
23 ligament has finally broke.

24 MEMBER BONACA: Go back to the --

25 DR. MUSCARA: You know, we do find in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 our samples sometimes we have very large cracks with
2 very small signal response. And I think this is
3 understood by the community.

4 CO-CHAIRMAN WALLIS: This is like ground
5 water flow and cracked rocks.

6 MEMBER SIEBER: An analogy is the angle
7 is the depth and the voltage from the -- the voltage
8 is the electrical link from the crack which may be
9 different than the physical length of the crack.
10 That's generally the way I see it.

11 DR. MUSCARA: The voltage relates very
12 nicely to volume that's missing.

13 MEMBER SIEBER: That's right. In fact,
14 that's why they use eddy current probes for waste --

15 DR. MUSCARA: Yes, it works very well on
16 that kind of flaw.

17 MEMBER SIEBER: But when you go through
18 a tube support plate, everything just goes wild. So
19 you have to reexamine those most of the time.

20 DR. KUPPERMAN: If you had a series of
21 matches that were all one centimeter long, the
22 voltage would correlate with depth very nicely. In
23 fact, that's how you set up --

24 CO-CHAIRMAN WALLIS: Actually, I think
25 you can go through all these details but the only

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 real question and what really matters here is did
2 the guys detect a crack or not?

3 DR. KUPPERMAN: We're getting to that.

4 CO-CHAIRMAN WALLIS: You spent a lot of
5 time on these, whether this profile and this profile
6 will come out the same.

7 MR. SHACK: Well, if you're willing to
8 believe our curves, we'll skip directly to them.

9 CO-CHAIRMAN WALLIS: No, no. I was just
10 wondering just exactly is there anything to do with
11 how well the guys detect the crack?

12 MR. SHACK: No, but they have everything
13 to do with as whether our curves are meaningful or
14 not.

15 CO-CHAIRMAN WALLIS: Oh. Yes. Okay.

16 MR. SHACK: If you're willing to
17 believe, we're willing to tell you.

18 CO-CHAIRMAN WALLIS: This is now the
19 Argonne algorithm --

20 DR. KUPPERMAN: Yes. Now we're getting
21 to the meat of it.

22 CO-CHAIRMAN WALLIS: But is this what
23 the round robin people look at or is this --

24 DR. KUPPERMAN: No. We want to show you
25 the accuracy that we have in knowing the --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. MUSCARA: Let me try quickly. We're
2 trying to grade the inspector. And the way we grade
3 him is to say he's detected a flaw and what size was
4 it, or did he detect the large flaws, the small
5 flaws? So we have to know what size flaws we have
6 in the samples; the numbers and sizes. And unless
7 we know the size, we can't really evaluate him.

8 CO-CHAIRMAN WALLIS: So you're using the
9 PHD method to figure out what the crack really is?

10 DR. MUSCARA: We're qualifying him.

11 CO-CHAIRMAN WALLIS: I don't understand
12 why they don't use the PHD method everywhere and
13 everyplace.

14 DR. MUSCARA: Well, we'll try. We takes
15 time for this to get outside.

16 CO-CHAIRMAN FORD: Could you go back to
17 the previous one? Convince me so far the voltage
18 means nothing in terms of -- you're showing two
19 graphs now and saying that there's no correlation
20 between voltage and --

21 DR. KUPPERMAN: I would phrase it as the
22 correlation is very poor.

23 CO-CHAIRMAN FORD: Yes.

24 DR. KUPPERMAN: And it's also when we
25 look at the field data we find the --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: But the Argonne
2 method is very good. And there's a lot of stuff in
3 your report. Many figures, like figure 17 showing
4 that Argonne method is great. And I think I we're
5 learning to accept it's great.

6 CO-CHAIRMAN FORD: And what was your
7 point about the -- your -- this is something there
8 was that changed? You got probably of leakage
9 versus volts.

10 MR. SHACK: We tried to make it clear

11 CO-CHAIRMAN FORD: Oh, I see.

12 CO-CHAIRMAN WALLIS: That's what makes
13 it difficult to figure out. What's the volts?

14 CO-CHAIRMAN FORD: Okay. Do you want to
15 go through an explanation of that second bullet
16 there, probability of leakage? Is this important to
17 our understanding?

18 CO-CHAIRMAN WALLIS: I don't know that
19 we need to.

20 DR. KUPPERMAN: Well, we have some flaws
21 from McGuire that under pressure leaked. And we
22 just point out that our results for leakage versus
23 volts are consistent with what is out there in the
24 industry.

25 MR. SHACK: They have 48 data points, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 believe, to develop a correlation for probability of
2 leakage versus voltage. Our points would not change
3 that correlation. And, in fact, if anything it
4 would -- you know, since we didn't get any leakage,
5 you know, it only is going to shift the curve to the
6 right if we added our data points to their data
7 points. But basically when they predict a low
8 probability of leakage, we're not finding leakage.
9 The only crack that we would have expect -- we have
10 about a 50/50 chance of seeing leakage for the high
11 voltage crack.

12 CO-CHAIRMAN FORD: Okay. So carry on.

13 MEMBER KRESS: This has to do with the
14 voltage based --

15 MR. SHACK: The voltage based criterion.

16 MEMBER KRESS: Which I recall was good
17 for some tubes and seemed to be weird for other
18 sized tubes?

19 MR. SHACK: Better and worse, yes.

20 MEMBER KRESS: Okay.

21 MR. SHACK: Or worse and worse.

22 CO-CHAIRMAN WALLIS: But you just said
23 there's no correlation between and voltage?

24 DR. MUSCARA: And the reason is because
25 of lack of a physical basis for that correlation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So we can't make that correlation any better. It is
2 what it is.

3 DR. KUPPERMAN: Well, this is an example
4 of how well the multi-parameter algorithm can
5 profile a crack. And the blue is the result of
6 applying the algorithm and the red is a result of
7 the profile generated by fractography. So sometimes
8 it can be very good.

9 It's not always this great, but we have
10 the uncertainties developed as a result of looking
11 at many, many flaws.

12 CO-CHAIRMAN FORD: Now just very
13 briefly, there's not obviously just voltage, it's --
14 the voltage parameter.

15 DR. KUPPERMAN: This is --

16 CO-CHAIRMAN FORD: Phase angle, the
17 frequency?

18 DR. KUPPERMAN: Voltage and phase at
19 different frequencies plus rules. There are certain
20 rules that are applied to the data.

21 So in this slide we point out that if
22 using this Argonne multi-parameter algorithm
23 sometimes when the cracks are simple, you got a very
24 good correlation between depth and predicted depth
25 and actual. But then when you get to more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 complicated flaws, there's some scattering of data.

2 CO-CHAIRMAN WALLIS: Well, there are
3 sorts of ligaments. I mean, what's the depth?

4 DR. KUPPERMAN: The depth is the maximum
5 depth.

6 CO-CHAIRMAN WALLIS: The maximum depth.
7 But the --

8 MR. SHACK: Well, we profile the cracks
9 sometimes and sometimes we use max depth so that the
10 depth can be one or the other.

11 DR. KUPPERMAN: When you see the PLD
12 curves there, it's maximum depth.

13 MR. SHACK: Yes, I can take over at this
14 point.

15 Bill is now going to take over.

16 MR. SHACK: Okay. We just sort of want
17 to talk about the determination of the POD curves
18 and what do you get out of the round robin. Well,
19 you have 11 teams that go through and they look at
20 this crack and, you know, eight out of the 11 teams
21 will find the crack and three won't. And so we get
22 sort of ones and zeros are the results. We don't
23 get continuous data. We get a binary result.

24 The probability of detection that we've
25 discussed depends on many variables; crack length

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and depth, the orientation, the morphology, do we
2 have a single plane or crack or many of them, the
3 material grain and degree of cold work interferes
4 with the signal, do we have artifacts like the roll
5 transition or the tube support plate itself. We
6 have other ones like dents, magnetite type, copper
7 deposits.

8 We can't analyze all of these things.
9 We don't have a model that incorporates all of these
10 into a single picture. And what's done, and what's
11 done in the industry, is that we try to deal with
12 this by considering the data for a fairly specific
13 procedure, a specific way of doing it and specific
14 locations. And so you'll see POD curves for OD at
15 the TSP, POD curves for OD cracks at the tube
16 support plate. So rather than trying to build all
17 that geometry and variations into the models, we
18 just use different correlations. And in fact, in
19 industry they will come in with even more
20 specialized correlations that apply only to specific
21 things. So they're trying to eliminate as many of
22 the variables as they can.

23 So the only variable that we -- we
24 typically concentrate on one variable at a time for
25 a specific location, and that one that's most

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 commonly used is the maximum depth.

2 MEMBER KRESS: And you can only do this
3 if your specimens you used to develop the POD are
4 assumed to be typical of what's out there.

5 MR. SHACK: Right. A representative.

6 MEMBER KRESS: Representative of what's
7 out there?

8 MR. SHACK: Right.

9 MEMBER KRESS: Because it's going to
10 have all those variables in it?

11 MR. SHACK: Because it's going to have
12 all those variables in it.

13 DR. MUSCARA: Just one more simple point
14 is that these techniques have qualified in industry.
15 They're qualified for a specific probe and procedure
16 and location.

17 MEMBER KRESS: Okay.

18 DR. MUSCARA: So it's broken down into
19 fairly defined situations. And we've conducted the
20 POD work for those probes, techniques and locations
21 and types of flaws the way it was qualified.

22 MR. SHACK: So we'll typically -- I say
23 "we," the only one that we consider here explicitly
24 is crack depth -- I mean maximum depth. Actually,
25 we do maximum depth, we do voltage because it's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reported that way sometimes for the TSP. An we use
2 this m_p parameter that we've discussed, which is the
3 stress magnification. It, in many ways, is the most
4 meaningful one because it incorporates the whole
5 crack profile. So it incorporates the crack length.
6 It tells you whether the crack has got a maximum
7 depth that's uniform over a fair amount or it's just
8 got a slight deep point and it's fairly shallow.
9 And so it really reflects much more clearly the
10 structural impact of the crack.

11 But the usual way of reporting data is
12 primarily in terms of max depth, and that's what
13 we've done most of the time.

14 Now, I've mentioned detection data are
15 binomial, we get ones and zeros. If we try to fit
16 data by -- you know, you don't use linear squares
17 discretion when you're trying to fit binomial data.
18 It doesn't make sense. We use essentially maximum
19 likelihood estimates to choose the parameters to fit
20 the data.

21 Again, we pretend that the probability
22 of detection is really a binomial probability.
23 Again, it depends on all these variables, but we've
24 localized them by looking at the probability of
25 detection for OD cracks at the tube support plate.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And so we're going to assume that our probability of
2 detection depends only on crack depth.

3 CO-CHAIRMAN WALLIS: I think that -- I
4 don't know. Maybe we should talk about this off the
5 record. It seems to me that there's a correlation.
6 If a team is bad, then it's not -- it's response
7 isn't random for each one, it's got sort of a bias
8 to being bad on everything it does. Is that
9 reflected --

10 MR. SHACK: No, that's not true.

11 CO-CHAIRMAN WALLIS: It's not.

12 MR. SHACK: We'll come to that. But we
13 do see variations between -- but unlike -- you know
14 20 years ago when Joe did some UT round robbins you
15 found that. You know, there was the super team.

16 CO-CHAIRMAN WALLIS: Right.

17 MR. SHACK: And then, you know, there
18 were other people. But we didn't really see that in
19 this case.

20 CO-CHAIRMAN WALLIS: So you've got sort
21 of five statistically identical teams or something.

22 DR. MUSCARA: It's because there's been
23 a lot more training. I mean, both UT and eddy
24 current there's training and qualification.

25 CO-CHAIRMAN WALLIS: Okay. So there's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 more experience at interpreting data. Yes.

2 MR. SHACK: But that is one of the
3 modern qualification thing is that we seem to have
4 smeared out much of this variability.

5 CO-CHAIRMAN WALLIS: So they all have
6 the same probability profile?

7 MR. SHACK: To the extent that we can
8 tell from what we have. We don't see a real
9 distinction.

10 CO-CHAIRMAN WALLIS: That changes the
11 way you deal with the statistics.

12 MR. SHACK: And, again, so I can
13 construct a likelihood function for this and --

14 CO-CHAIRMAN FORD: Bill, before you go
15 on with that, can you just go back. Sorry. The
16 very first bullet, you say "detection data are
17 binomial." Detection by commercial methods?

18 MR. SHACK: Yes. This is the commercial
19 team now. That's what we're trying to evaluate.

20 CO-CHAIRMAN FORD: And the commercial
21 team --

22 MR. SHACK: And the commercial either
23 says there is a defect there or that he misses the
24 defect.

25 CO-CHAIRMAN FORD: Using voltage as the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sole --

2 MR. SHACK: Well, no, no. He's using
3 his pattern recognition scheme to do that. Voltage
4 is certainly one thing he's looking for. That's the
5 thing that triggers him to look. But basically he
6 has to look at this signal and look at the way the
7 signal is behaving and make decision whether this --

8 CO-CHAIRMAN FORD: But if as you showed
9 just previous voltage per se as a trigger point is
10 not a good physical --

11 MR. SHACK: No, no. We said it didn't
12 correlate well with depth.

13 CO-CHAIRMAN FORD: Yes.

14 DR. KUPPERMAN: It's possible that
15 you'll miss a flaw because there is no voltage large
16 enough over the --

17 MR. SHACK: Yes. And you know, voltage
18 isn't a good measure. But if you have no signal, I
19 guarantee you're not going to any analyze any
20 pattern. So it's a necessary but not sufficient
21 condition for --

22 CO-CHAIRMAN WALLIS: I mean there are
23 always flaws there.

24 MR. SHACK: Right.

25 CO-CHAIRMAN WALLIS: And you could say

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 every time you get any wiggle at all, we'll call it
2 a flaw.

3 DR. KUPPERMAN: Above a certain
4 pressure.

5 CO-CHAIRMAN WALLIS: Yes, but that makes
6 the different, doesn't it?

7 MR. SHACK: Right.

8 CO-CHAIRMAN WALLIS: So just detection
9 of one or zero is --

10 MR. SHACK: No, but his result is a one
11 or a zero. He either finds -- you know, whether
12 he's doing it with a weegee board or an eddy current
13 probe he's either find detected or not detected.

14 CO-CHAIRMAN WALLIS: That must depend on
15 how familiarized he is before he --

16 DR. MUSCARA: It's the way we grade him.
17 You know, he has a set of samples. We know there are
18 flaws in there, and he either detected or not.

19 CO-CHAIRMAN WALLIS: You also know that
20 there's a bigger probability that there being lots
21 of little flaws than the big ones?

22 DR. MUSCARA: Oh, sure.

23 CO-CHAIRMAN WALLIS: So if he's more
24 sensitive in his detection, he's going to pick up a
25 lot more flaws, isn't he?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SHACK: He'll have a very high POD.

2 CO-CHAIRMAN WALLIS: Yes.

3 MR. SHACK: And he could have a high POD
4 even at shallow depths of he's very good.

5 CO-CHAIRMAN WALLIS: Yes.

6 MR. SHACK: We'll see how that works
7 out.

8 DR. MUSCARA: But the point again,
9 Peter, is that we're grading him based on the
10 qualified procedure which set out -- it's written
11 and they've been tested on their procedure. The
12 procedure indicates what size probed, what kind of
13 probe, what the frequencies are; all the essential
14 parameters. So whatever the man does to qualify and
15 he used in the field, is what is done on these set
16 of samples. And he either detected or not. I mean,
17 and it's not just necessarily voltage. It depends
18 on the location, the type of -- etcetera. But it
19 according to the procedure that he uses in the field
20 that's been qualified.

21 DR. KUPPERMAN: In the analyst report
22 the resolution analyses, the final report that we
23 look at, for each test section there is a three
24 letter code. And NDD is no detectable degradation
25 or it'll be something else.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: So it seems to me
2 you might get a mistake where one observer --
3 essentially one for all cracks above a certain depth
4 and then falls off.

5 DR. KUPPERMAN: Right.

6 CO-CHAIRMAN WALLIS: You know, that's
7 what you'd expect to find. And different people
8 will fall off at different places?

9 DR. KUPPERMAN: Exactly.

10 MR. SHACK: And different locations that
11 fall off occurs at different depths because some
12 locations are more difficult than others, right.

13 CO-CHAIRMAN WALLIS: Are harder to see?

14 MR. SHACK: And again, this comes down
15 to okay, now we're going to fit curve. You know,
16 what curve are we going to fit? The curve we happen
17 to pick is the so-called linea logistic . It's very
18 related to essentially the cumulative distribution
19 function for the normal distribution. And, you
20 know, why would you do this? Well, I'm going to
21 really demonstrate that it's mostly because we can
22 fit any kind of a curve we want with it that seems
23 reasonable, but a semi-physical argument that I'll
24 bring up because I'm going to use it again later,
25 and that says that our signal amplitude is generally

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 related to the size of the defect in some way. You
2 know, it's not a perfect correlation, but it's
3 correlated in some way.

4 The responses we get from these depths
5 have a distribution which we'll assume, will be
6 normally distributed. And so I say a crack depth of
7 .9, we won't always get the same response, but we'll
8 get some range of responses that we'll assume is
9 normally distributed if we had a whole bunch of .9
10 depths.

11 And we'll assume that the POD is the
12 probability that this response we get exceeds the
13 noise. Now, again, this is all kind of picturing
14 the signal as being a voltage, and it's a little bit
15 of a fudge to apply it to a pattern recognition
16 scheme, but we choose as we usually do. So, you
17 know, it's a reasonable form to pick.

18 Now, again, perhaps the best argument is
19 that we can represent just about any kind of a POD
20 curve that you expect to get. We might say that
21 this would be the typical POD curve. Again, high
22 probability of detection for deep cracks, for big
23 cracks; low probabilities of detection for very
24 shallow cracks.

25 We can get cracks where we have higher

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 probabilities of detection, but we get false calls.
2 He think he's calling everything that might be a
3 crack a crack. So he ends up essentially calling
4 things cracks that aren't cracks.

5 CO-CHAIRMAN WALLIS: You're integrating
6 is you're actually saying it's cracks above a
7 certain size that you're looking at, a percentile
8 type thing, a cumulative probability rather than a
9 error function thing --

10 MR. SHACK: No, no. It's a cumulative
11 function but you're actually looking at the binomial
12 probability at a given depth.

13 CO-CHAIRMAN WALLIS: I know. I
14 understand. I understand that.

15 MR. SHACK: It's a constrained sort of
16 thing.

17 CO-CHAIRMAN WALLIS: Yes.

18 MR. SHACK: And again, the perfect POD
19 is where he doesn't call any zero depth cracks
20 cracks, but as soon as the crack has a little bit of
21 depth he's up here at one and he just goes -- you
22 know, so it's basically a step function.

23 CO-CHAIRMAN WALLIS: He's counting
24 zillions of them when they're very small?

25 MR. SHACK: But he's finding everything.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So it's very good from a POD point of view. And as
2 long as he's not making false calls, then he could
3 then tell you something about the size, this would
4 be wonderful.

5 The case, of course, is when he can't
6 see anything until the crack is through wall, and
7 even then he has a poor probability of doing it.
8 And then you might have the difficult situation
9 where you can't see anything but very large cracks.

10 And so, again, we can represent all of
11 these.

12 CO-CHAIRMAN WALLIS: But what matters is
13 that you detect the cracks that you care about?

14 MR. SHACK: Right.

15 DR. KUPPERMAN: Exactly.

16 MR. SHACK: Again, I won't go through
17 the math of the maximum likelihood estimates. It's
18 there.

19 We get uncertainties in these parameters
20 for two reasons. One, you know we have binomials
21 probabilities but we have relative small samples.
22 And so we have uncertainties in our binomial
23 probabilities because of the smallness of the
24 sample.

25 We also have additional uncertainties

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 because we pretend we know the depth of the crack
2 and we really don't. We have an estimate from our
3 PHD level multi-parameter technique, and it's good,
4 but it's not perfect. And it turns out that we have
5 to account for those errors because of the smallness
6 of the sample and the errors that we're making in
7 the depth.

8 And again, we've been through this
9 before, we've benchmarked the PHD technique against
10 the destructive analyses.

11 We also do a sensitivity analyses where
12 we look at forms at the POD curves other than this
13 linear logistic normal distribution kind of curve
14 that we pick. And the one that's sort of good is
15 this log-log length where instead of having the log
16 of the probability be linear, we make it
17 expediential with depth. And I'd sort of argue that
18 these are kind of bounding the ranges of responses
19 we might expect to get. That you get a one where it
20 sort of gradually goes up, the other where it goes
21 up like -- very, very rapidly.

22 It turns out in industry they use a
23 third one where they have a logarithmic dependence
24 on it. This, in fact, gives you singular behavior
25 at zero. So you're probability of detection really

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 goes up in a singular way as the crack is non-zero.
2 It turns out that this is not really different than
3 the others. You know, when you have a behavior like
4 that, obviously what do you do with the false call
5 rate? Well, if you say that the false call rate you
6 measure really applies to all cracks, say, up to 15
7 percent deep because you can't detect any of those
8 anyway, you'll get something that looks like our
9 linear logistic. If you say that it applies to
10 cracks that are only very, very shallow so it's .1
11 percent depth, then it looks like my expediential
12 type growth.

13 And so the two I've picked, I think I
14 can argue sort of do bound the ranges of behavior
15 that we would expect.

16 If I apply them overall, what I find is
17 that in fact the expediential growth gives me
18 slightly better statistical fits to the data.
19 However, we decided to go with the linear logistic
20 because in our expert judgment we just felt that it
21 was unrealistic to have the rapid increase in the
22 probability of detection for these low cracks. And
23 so we've chosen to go with the linear logistic even
24 though it may not necessarily give us the best
25 statistical fit.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN FORD: Could you go back?
2 You're really stretching me here, Bill.

3 In simple term tell me why these
4 logistic approaches give a more physically realistic
5 result?

6 MR. SHACK: Mostly because when you look
7 at a crack that's 50 percent through, well he says
8 there's no way that you have a 25 percent chance of
9 finding this thing. It's a very small probability.
10 So we think that curve starts very -- fairly shallow
11 at the shallow depths and then begins to steeply
12 rise.

13 CO-CHAIRMAN FORD: And I didn't listen
14 until you got some data there. Those circles?

15 MR. SHACK: Yes. Those are zeros are
16 ones, right.

17 CO-CHAIRMAN FORD: And just because the
18 blue curve approximates more to the --

19 THE COURT: Well, you know, you want to
20 do a least square fit in your mind, and it's not the
21 right way to do it. It's hard for your brain to do
22 a maximum likelihood estimate of a binomial
23 probability. So you're used to seeing least squares
24 that your brain works that way, but it's not what
25 you're looking for.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: But the curves are a
2 maximum likelihood --

3 MR. SHACK: Yes.

4 MEMBER KRESS: -- fit to that data is
5 what you're saying?

6 MR. SHACK: Yes.

7 DR. MUSCARA: Can I also mention in the
8 same area, many years ago we did work similar to
9 this for UT. We also looked at similar work for
10 radiography and radiology in the medical field. And
11 in the prior work we had hundreds of samples. You
12 know, specific crack sizes, many of them at a
13 certain crack size, a whole bunch in different crack
14 size. Where we developed the POD base on the then
15 data. And this is true UTs. It's true with x-ray.
16 And the data follows this kind of a fit.

17 So when you run an experiment we have
18 lots of samples and you bend the data we have lots
19 of samples for each crack size categories. And you
20 actually plot how many of those were detected and
21 missed. So you actually plot the probability
22 detection for the different teams, it has this kind
23 of a --

24 CO-CHAIRMAN WALLIS: It's almost like a
25 curve fit. When you get an A and a B you say that a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ceratin team has a certain A and a certain B. So
2 whatever the logic, you essentially eventually end
3 up as a curve fit and it seems to work fairly well.

4 CO-CHAIRMAN FORD: Again, could you go
5 back one? Stay there.

6 Those data points miss are based on 11
7 teams?

8 MR. SHACK: Yes. That's one team.

9 CO-CHAIRMAN FORD: Oh, that's one team.

10 MR. SHACK: If I put the 11 teams in
11 there --

12 DR. KUPPERMAN: Because there's numbers
13 in between.

14 MR. SHACK: You'd see some sort of solid
15 band of green at the top.

16 CO-CHAIRMAN FORD: My question really
17 was heading toward, though, what happens to those
18 curves, your conclusion more physically realistic if
19 you did a 100 teams? Is the number of data points
20 you have there any -- does that come into this
21 graph?

22 DR. KUPPERMAN: We have the law of
23 confidence --

24 CO-CHAIRMAN FORD: Do you understand my
25 question?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SHACK: Yes. Yes. I mean, the
2 number of teams, essentially gives me my confidence
3 on my binomial probability. And if I had a 100
4 teams, I would have much more confidence that I had
5 the true binomial probability of detection.

6 MEMBER KRESS: You could have put all
7 those teams on there if you add another dimension at
8 the top which was the height of some sort of bar on
9 there to represent the number of teams, sort of a
10 continuous fashion that hit those levels?

11 MR. SHACK: Yes. There are various
12 ways.

13 MEMBER KRESS: You wouldn't have to just
14 a bar, is all I'm saying.

15 MR. SHACK: Yes. I could present the
16 data in various ways.

17 MEMBER KRESS: But this illustrates what
18 you're doing, and that's kind of good.

19 MR. SHACK: Yes.

20 CO-CHAIRMAN WALLIS: Okay. And are you
21 going to show you some data?

22 DR. KUPPERMAN: And now we're going to
23 show you some data.

24 MR. SHACK: Some results.

25 DR. KUPPERMAN: The slide shows the --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 now remember, these are the results for the
2 resolution analysts. So this is the final result of
3 the team. The primary and secondary resolution
4 analysts --

5 CO-CHAIRMAN WALLIS: This is for one
6 particular team?

7 DR. KUPPERMAN: Well, all the results
8 you're going to see now are the average for 11
9 teams.

10 CO-CHAIRMAN WALLIS: This is the average
11 for 11 teams then?

12 DR. MUSCARA: And it's the call they
13 would have made for the field procedure. In other
14 words, not the primary member of the team. It's the
15 final call. It's the team's call, not the
16 individual.

17 MEMBER KRESS: Now, when you say
18 average, you mean you took all 11 teams and made a
19 maximum likelihood and this is --

20 DR. KUPPERMAN: Yes. And one flaw may
21 be --

22 MEMBER KRESS: It's not quite an
23 average, it's a maximum likelihood?

24 MR. SHACK: It could be an example of
25 where only five teams called it correctly and six

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 missed and so it's the average.

2 MEMBER KRESS: Oh. You could do a
3 maximum likelihood that way, you're right. It could
4 be an average.

5 DR. KUPPERMAN: Okay. So this is a
6 result for axial ODSCC at the tube support plate for
7 example. And the blue line is the PLD and the red
8 line is the lower 95 percent confidence limit that
9 takes into account all of the uncertainty.

10 CO-CHAIRMAN WALLIS: So it's pretty well
11 perfect?

12 MEMBER KRESS: No. Now your code up
13 there is tube support plate, actual OD stress
14 corrosion crack is that the way you read that?

15 DR. KUPPERMAN: Yes, that's correct.
16 Longitudinally.

17 MEMBER KRESS: Longitudinally.

18 DR. KUPPERMAN: It's the longitude of
19 ODCC, right.

20 MEMBER KRESS: Okay.

21 MEMBER SIEBER: So the point is that
22 we're showing the results as a function of location.
23 So this is tube support plate. There are other
24 curves for tube sheets, there are other curves for
25 freespan.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: You're saying this
2 is the characteristic of the method of detection
3 plus the method of observing? And this is a curve?

4 This doesn't say anything about what you
5 need to do in terms of measuring depths or
6 something, but you could at least put this into a
7 PRA?

8 MEMBER KRESS: This is for PRA.

9 CO-CHAIRMAN WALLIS: It makes you an --
10 when you do PRA, say gee wiz, we'd better get a PRD
11 that's ten times as big as this. This is a critical
12 thing. That's good.

13 DR. KUPPERMAN: We want to point out
14 that this is a test. You know, these analysts are
15 coming in and they're really given a test. And there
16 was the possibility that they would just call
17 everything just so that they would not miss
18 anything, ever. But they're following procedures
19 and they're professionals. And we feel that they
20 did a very competent job of assimilating how they
21 would react in the field.

22 CO-CHAIRMAN WALLIS: It seems to me that
23 this is related to the safety culture of the plant.
24 I mean, there's a management person saying "Get this
25 thing over with, I don't want to see any cracks

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 today" or something. You're going to get a
2 different result than if you have another kind of
3 manager that says "Take your time. Make sure you do
4 everything."

5 DR. KUPPERMAN: The culture is very
6 important.

7 MEMBER BONACA: These teams, they're not
8 necessarily only teams. I mean, there are teams of
9 expert coming from vendors, right, to do --

10 MR. SHACK: Right. But they work for the
11 plant.

12 MEMBER BONACA: They only work for the
13 plant for the particular job. They go from plant to
14 plant.

15 MEMBER KRESS: And best I re member, the
16 POD was a very sensitive parameter in determining
17 the actual list due to these events. As best I can
18 remember in the PRAs that we've seen. So it's very
19 important to get that.

20 THE COURT: But, I mean, we're not only
21 relying on their professionalism, and we just have
22 a low false call rate here.

23 DR. KUPPERMAN: Yes, that's what we want
24 to point out that in most cases the false call rate
25 is very acceptable and within limits that you want

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to get to.

2 The other point --

3 CO-CHAIRMAN WALLIS: I don't know you
4 mean by false call. I mean, if there is a crack,
5 which there are cracks at depth .4 and you only
6 detect them at --

7 MR. SHACK: No, no. It's the cracks at
8 depth zero we're worried about.

9 DR. KUPPERMAN: Only around ten percent
10 of the test sections have a flaw. There's over 3200
11 test sections with nothing in it. But there's --

12 CO-CHAIRMAN WALLIS: Maybe I'm not
13 understanding this curve. If you have a depth of
14 .5, this says the probability of detection is only
15 30 percent? Is that acceptable?

16 MEMBER BONACA: About 50/50.

17 DR. KUPPERMAN: It's about 45, yes.

18 CO-CHAIRMAN WALLIS: It has to be all
19 the way through before it's a very high probability
20 of finding it.

21 MR. SHACK: It has to be deep.

22 CO-CHAIRMAN WALLIS: That doesn't sound
23 very good to me at all.

24 MEMBER KRESS: Well, I mean, .5 is still
25 a pretty sturdy piece of steam generator tube. So

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 when you do the risk analysis for say not detecting
2 it over the next inspection --

3 CO-CHAIRMAN WALLIS: Well, personally it
4 doesn't look very good. I mean if the thing is --

5 DR. MUSCARA: When you look at the MRPC
6 curve which relates to structural integrity, you get
7 a better feel for that means.

8 CO-CHAIRMAN WALLIS: Okay. I think you
9 got to do that.

10 DR. KUPPERMAN: Yes. That probably will
11 make you feel a little bit better.

12 CO-CHAIRMAN WALLIS: Because I mean
13 superficially as a member, just looking at this, I'd
14 like to see a higher curve.

15 MEMBER KRESS: But this is the curve for
16 the way we do it.

17 CO-CHAIRMAN WALLIS: So if this were
18 breast cancer and you said there's a probability of
19 detecting something which was half centimeter, only
20 50 percent, it would not be acceptable. For a scale
21 of zero to one for nodal size, which would not be
22 acceptable.

23 MEMBER KRESS: Yes, but if this the
24 detecting of breast cancer that's not curable, then
25 there it might be.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: Yes. But here
2 you're saying the only thing that really matters if
3 the really long cracks or the really --

4 MEMBER KRESS: Yes.

5 CO-CHAIRMAN FORD: Okay. Joe, if I
6 could just again, a question of timing. If I take a
7 break for a quarter of an hour, is this a good place
8 after the next graph to take a --

9 DR. KUPPERMAN: I think we should spend
10 a few more minutes to --

11 CO-CHAIRMAN WALLIS: Yes, when you give
12 us the bottom line, I think it'll be time.

13 DR. KUPPERMAN: Because I think Joe's
14 going to come back.

15 CO-CHAIRMAN FORD: Okay.

16 DR. KUPPERMAN: The only other point we
17 have to make is that this is not the final POD.
18 This triggers another analysis by the rotating coil
19 and it's possible that the bottom coil could have
20 correctly picked up a flaw and then the rotating
21 coil could result in dismissing it. So it's the
22 probability to PODs.

23 MEMBER KRESS: That would be like a
24 false detection?

25 DR. KUPPERMAN: If there's no flaw, it's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a false call.

2 MEMBER KRESS: Yes.

3 MEMBER SIEBER: If there is but it's not
4 confirmed, then it's a miss.

5 MEMBER KRESS: So this is not the curve
6 you actually put in the PRA? It's the one you get
7 when you factor in the --

8 DR. KUPPERMAN: The MRPC.

9 MEMBER KRESS: -- the MRPC? Right.

10 DR. KUPPERMAN: The other way of
11 applying the PLD it's a function of voltage, and
12 this slide shows the PLD as a function of voltage
13 and with the 95 percent lower confidence limit. And
14 we just point out that the PLD approach is .9 for
15 the voltages, you know, one to two volts. And that
16 is consistent with the observation in 1740.

17 MR. SHACK: We're sucking up.

18 DR. KUPPERMAN: And I tried to indicate
19 a little bit an idea of why you might miss a law,
20 and that is basically that there is a very high
21 noise level, the signal was too complex and it
22 results in analysis that doesn't lead to a call.

23 And very important, of course, are the
24 human factors; fatigue, distractions.

25 CO-CHAIRMAN WALLIS: Or it might be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reluctance to pay attention to little flaws because
2 you know they're unimportant.

3 CO-CHAIRMAN FORD: Again, could you go
4 back?

5 The one to two volts is the limit
6 current given in 9505, and yet as I understand it
7 the POD that the staff uses is .6. Where do these
8 conclusions that you're coming to right now impact
9 on those two statements?

10 MR. SHACK: They'll be talking about
11 that, I believe.

12 CO-CHAIRMAN FORD: Okay. So in other
13 words, their current position they're taking at .6
14 is an over conservative approach?

15 DR. MUSCARA: It could be, but this is
16 the reason for having the data as a function of
17 different parameters. One question that often comes
18 up is how does this information relate to what you
19 see in the field where your noise level in the
20 generators out in the field may be different, may be
21 even higher. So we've been doing some work and try
22 to adjust this kind of data to take into account the
23 effect of noise.

24 Those are some of the things that need
25 to be considered before we really decide that some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of these curves can or cannot be used. But I'm sure
2 that NRR may have some comments on that also.

3 DR. KUPPERMAN: We can almost skip this
4 slide where we discuss these points that -- a call
5 be made when there's no flaw. And even though the
6 participants might --

7 CO-CHAIRMAN WALLIS: What is an
8 overcall?

9 DR. KUPPERMAN: They're saying that
10 there's a flaw, a false call, an overcall or false
11 call.

12 CO-CHAIRMAN WALLIS: They're saying
13 there's a flaw when there isn't one.

14 DR. KUPPERMAN: When there isn't one.

15 CO-CHAIRMAN WALLIS: That wasn't clear
16 to m e.

17 DR. KUPPERMAN: And it's a very low rate
18 except a little higher in the tube sheet.

19 CO-CHAIRMAN WALLIS: Okay.

20 DR. KUPPERMAN: Now, for missing flaws,
21 this slide summarizes that. And mainly there's some
22 distortion of a flaw signal that would be very
23 clear. And this could be caused by geometry of
24 deposits or the crack could be very tight and
25 doesn't generate a signal above the threshold that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they're looking at.

2 And the last bullet indicates that
3 sometimes when you're going through this complete
4 analysis, one coil might say there's a flaw and
5 another one might say there isn't. And that leads
6 to confusion and discussion by the resolution
7 analysts. And it's related, often, to the
8 possibility that there's a very high phase angel
9 which is generally attributed to no flaw even though
10 there is one.

11 CO-CHAIRMAN WALLIS: It's number three
12 there. If you have a flaw that ran the whole length
13 of the tube, it would become the norm and you might
14 not see it at all.

15 DR. KUPPERMAN: Yes. If it's a very
16 long flaw, the circumferential coil while it's going
17 through the middle of it, would not give you a large
18 signal. It's the beginning and the ends that you
19 pick them up.

20 And the other point that we discussed is
21 that there could be a perceived idea of what a flaw
22 response should be like and then might not pursue
23 anomalous indications. And then the human error.
24 Sometimes it's a recording error, actually. And
25 often lack of concentration.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 This gives you a little bit of an idea
2 of how a problem could arise, and probably the most
3 difficult situation for an analyst to deal with
4 regarding the bobbin coil signal. This is when you
5 have a stress crack in the dent. And the first list
6 that you would figure A shows the tube support plate
7 signal without a dent or a crack.

8 CO-CHAIRMAN WALLIS: Where's the dent in
9 the tube as it goes through the --

10 DR. KUPPERMAN: The dent is in the tube
11 at the tube support.

12 CO-CHAIRMAN WALLIS: As it goes through
13 this whole thing?

14 DR. KUPPERMAN: And then B shows a tube
15 support plate. B and C showed with a dent, and the
16 crack -- the figure gets complicated. And then D and
17 E show a shallow and a deep crack. And they're
18 supposed to figure this all out.

19 And what they do in this kind of
20 situation is they're very conservative and they
21 basically, if they can't resolve this cleanly,
22 they'll just call it with a bobbin coil and rely on
23 the rotating coil to resolve the issue. So what that
24 leads to is a very high false call rate, which gives
25 you this kind of POD curve. But what really happens

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is that after the call, even though there's an
2 overcall, you have to look at it with the rotating
3 coil generally speaking. And the rotating coil is
4 very good at separating out the crack from the dent,
5 and so the final result is more reasonable although
6 it's still miss them in this kind of situation.

7 MEMBER SIEBER: It seemed to me it was a
8 matter of practice to just automatically use the RPC
9 in certain tube support plate locations for pretty
10 flawed steam generator rather than go with the
11 bobbin and make calls and reexamine the ones that
12 get called.

13 DR. KUPPERMAN: It's possible to do a
14 100 percent examination of the support plates with
15 the rotating coil, but it would certainly take a
16 long, long time.

17 MEMBER SIEBER: It's time consuming.

18 DR. MUSCARA: Well, in effect, it's
19 typical to do a 100 percent at the tube sheet area
20 where the inspect was, but they only inspect
21 something like three or four inches.

22 MEMBER SIEBER: Well, maybe five or six
23 because you're down in the gap of three and you got
24 to get above and below. It depends on much crude is
25 sitting there, too.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: I have a question
2 for Bill. And it looks as if all this work was done
3 by a subcontractor called Pioneering Science and
4 Technology. Who is that?

5 MR. SHACK: That is a directive from the
6 laboratory director that we will put that on all
7 viewgraphs.

8 CO-CHAIRMAN WALLIS: But it doesn't say
9 anything about you guys.

10 DR. KUPPERMAN: That's Argonne's slogan.

11 CO-CHAIRMAN WALLIS: Okay.

12 MR. SHACK: We didn't choose it.

13 DR. KUPPERMAN: I wanted to use this
14 slide again to point out that even in a clean,
15 relatively clean straight tube three span no tube
16 support plate, no dent you still can miss a flaw
17 because the signal just doesn't jump out as it's
18 flying past. But in this particular case we
19 analyzed this tube section and found a nice
20 correlation between the multi-parameter algorithm
21 result and the destructive analysis --

22 CO-CHAIRMAN WALLIS: Everybody should
23 use it. Yes.

24 DR. KUPPERMAN: But that's the kind of
25 thing that can happen, just an example.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SHACK: Not all the teams missed it,
2 but some did.

3 DR. KUPPERMAN: No, no. Just some. Not
4 everybody missed this.

5 CO-CHAIRMAN WALLIS: How would it be if
6 we read a report saying forget about all these
7 teams, just use the Argonne method? It seems to be
8 so much better for many purposes.

9 MR. SHACK: You know, there's a economic
10 penalty to the analyses.

11 CO-CHAIRMAN WALLIS: Oh, maybe not.
12 These teams must be expensive.

13 MEMBER BONACA: Also these people are
14 pioneering.

15 CO-CHAIRMAN WALLIS: Well, I know. This
16 is a fast moving area.

17 DR. MUSCARA: I think people are looking
18 at it.

19 MR. SHACK: A couple of more slides
20 before we take a break.

21 Just indicate that with all these
22 qualifications, procedures and so on we find
23 generally that the results are consistent. And this
24 shows the team variation. This is the 11 teams and
25 straddling the PLD curves for the 11 teams. But this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 doesn't always happen.

2 And so this one is difficult to explain
3 because there's a team that's way out of line here.

4 CO-CHAIRMAN WALLIS: That extreme one is
5 also a team, that green team.

6 MR. SHACK: Yes, the green line is a
7 team. And you might find that one team is better in
8 the tube support plate and one is tube sheet --

9 CO-CHAIRMAN WALLIS: So that the utility
10 with the good safety culture would pick a green team
11 to hire. The one with a bad safety culture would
12 pick the --

13 DR. KUPPERMAN: No, but as Dave said,
14 they up and down depending on the --

15 CO-CHAIRMAN WALLIS: Oh, it's not
16 consistent.

17 MR. SHACK: Some are good, you know
18 better at tube sheets, some are --

19 CO-CHAIRMAN WALLIS: It's random which
20 one happens win the game with which crack or which
21 location?

22 DR. KUPPERMAN: The bottom line is there
23 wasn't really one lousy team.

24 CO-CHAIRMAN WALLIS: Okay.

25 MR. SHACK: And then you can also

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 present the results for the -- and you see the POD
2 curve and the 95 percent low confidence limit. It's
3 a little higher false call rate for that one.

4 CO-CHAIRMAN WALLIS: So all these
5 curves, we need to establish them or go into some
6 sort of a PRA that says that you're likely to detect
7 a crack of a certain kind of a tube sheet and detect
8 a crack somewhere else, so on and so on?

9 MR. SHACK: It tells you something about
10 the population of cracks that you might have. You
11 know, although you do inspections, you miss cracks.
12 And so it tells you what kind of cracks that you
13 might be missing.

14 CO-CHAIRMAN WALLIS: So the whole
15 question of how you should do inspections and how
16 many tubes you should inspect and how frequently is
17 a different question altogether, isn't it? But this
18 would be useful information for making that --

19 MR. SHACK: It's part of that question,
20 right.

21 DR. KUPPERMAN: As already pointed out,
22 the depth does not fully characterize the structural
23 impact. And what you might want to look at is the
24 PDL is a function of m_p . And that's what we've
25 done. And this is an example of the tube support

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 plate LODSCC. And what you're looking for is what's
2 the PLD for m_p s greater than 2.3, which is the --
3 and it's very high.

4 CO-CHAIRMAN WALLIS: This is very good.
5 But to get back to my previous remark, the decisions
6 made about inspection frequency seem to be someone's
7 almost picked out of the air and made a very
8 simplified way rather than using -- maybe they could
9 use this kind of information and a knowledge about
10 how cracks develop with time.

11 DR. MUSCARA: They could use and they do
12 use it sometimes, this kind of information.

13 CO-CHAIRMAN WALLIS: They do?

14 DR. MUSCARA: When they do an
15 operational assessment.

16 CO-CHAIRMAN WALLIS: It's such a level
17 of detail compared with some of the way decisions
18 get made in inspection.

19 MEMBER BONACA: Now, if you did inspect
20 steam generator tubes at every refueling, okay, when
21 it shutdown, wouldn't the probability improve in
22 that you have a history of previous signal that
23 gives you some intelligence on what may still
24 propagate, etcetera?

25 DR. KUPPERMAN: History is very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 important. When you say an indication, you look back
2 and see was there an indication on the previous
3 outage.

4 MEMBER BONACA: That's right.

5 THE COURT: We don't have that history.
6 There is a difference.

7 MEMBER BONACA: No, I understand that.
8 But I'm saying the real world, because I know in
9 some cases the inspections are being faulted for not
10 having identified previously the effects that should
11 have been identified, hopefully, and that may be
12 some of those cracks which are lingering in it. But
13 in reality, I mean it should be the reverse will be
14 true that in general when you stay with the steam
15 generator I guess you are learning about which
16 defects may be there, which may propagate and then
17 if you don't see them again next time, that confirms
18 that's probably not a defect and so on and so forth.
19 So you would have quite an effect, I would imagine,
20 on this probability distribution.

21 MEMBER SIEBER: Well, you actually have
22 to make that comparison because that's where you get
23 the crack growth rate from.

24 MEMBER BONACA: Yes. You see these
25 tests are done --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: It's an important
2 parameter to say prospectively I can safely operate
3 for the next cycle. If you don't have that history,
4 you can't make that prediction.

5 MEMBER BONACA: Because here you have no
6 previous intelligence, but there you do. I guess
7 I'm curious to know how much it would effect your --
8 you know, because people, you are going to call in
9 the same team that did the previous evaluation and
10 they remember which one that were put aside, which
11 one were questioned.

12 DR. MUSCARA: Part of the process in
13 industry before the inspection is to conduct a
14 degradation assessment. When they conduct this
15 degradation assessment with the inspectors, they're
16 going to inspect the plant. They essentially take
17 into account prior histories, so the inspectors know
18 what that history is.

19 When we conduct our tests, of course,
20 our mock-up was, let's say new, this was the first
21 time that someone looked at the cracks. But we also
22 had a degradation assessment. And that degradation
23 assessment with the teams. And they had information
24 on the kinds and types of flaws that might be there,
25 the conditions that might be there. So they had some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 information, and it's not as if this was all cold.
2 They had information about the history of our mock-
3 up.

4 CO-CHAIRMAN WALLIS: Well, I think the
5 bottom line is you've got a method here for
6 establishing these POD curves. And I think we'll
7 accept that. I wonder if we need to see anymore?
8 But I'm very interested in the X-probe, because it
9 seems to be getting more data, therefore more
10 information. And by processing it analytically, you
11 can get far better understanding of what's going on
12 than just getting for an expert to look at even more
13 terabytes of data. That seems to be the way to go.

14 DR. KUPPERMAN: Well, I agree with you
15 that the array probe is the way to the future, is
16 the probe of the future.

17 CO-CHAIRMAN WALLIS: Well, I mean,
18 imagining is an area of engineering which has
19 developed at an extraordinary rate. You can buy
20 better imagining things in all kinds of fields
21 because of the way computers and understanding goes.
22 It's developing very, very quickly. So it seems
23 like an X-probe out to be available for use.

24 DR. KUPPERMAN: Well, it's used quite
25 extensively in Canada.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: Yes. So why do we
2 have this antique way of looking at things which is
3 subject to misinterpretation?

4 DR. KUPPERMAN: The X-probe is being
5 used in the United States more and more, but right
6 now, I don't know. I don't know how many plants
7 have actually used it, but some -- certainly in a
8 replacement steam generator, I'm pretty sure they
9 did a 100 percent inspection with the X-probe.

10 I think this is a time for break.

11 CO-CHAIRMAN FORD: Okay. Could I
12 suggest that we adjourn for a quarter of an hour.
13 So, say, 11:00 back here.

14 And thank you much.

15 (Whereupon, at 11:43 a.m. a recess until
16 11:03 p.m.)

17 CO-CHAIRMAN FORD: WE're back in
18 session.

19 We've got an hour and a quarter to
20 finish off this whole question of 3.6, 3.7 and 3.8.
21 Is there a lot more to be done on 3.6?

22 DR. MUSCARA: About half of an hour, I
23 think.

24 CO-CHAIRMAN FORD: Half an hour?

25 DR. MUSCARA: I think on the other items

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it's just -- it's barely 15 minutes or half an hour
2 on the other items.

3 CO-CHAIRMAN FORD: Okay. Jolly good.

4 DR. KUPPERMAN: So we'll continue now to
5 address the eddy current noise issue. The question
6 is how much eddy current noise can you tolerate
7 before the data quality is affected and detection
8 capability degraded. As a result of low signal
9 noise there are several things that could take
10 place.

11 If the noise is the result of some kind
12 of an electronic problem or maybe the probe is worn
13 out too much and resulting in high noise levels, you
14 could just recollect the data. Do it again. Or you
15 could even possibly result in the change of
16 technique. Or you could determine what the
17 detection probability is in this noise, in the
18 presence of this noise and adjust the POD and sizing
19 uncertainty accordingly. Or all these options may
20 not be exercised, you might just repair the tube if
21 its an isolated case.

22 CO-CHAIRMAN WALLIS: I think a question
23 might be whether there's more noise in the plant
24 than there is in Argonne.

25 DR. KUPPERMAN: Most plants have a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 higher noise level than in the mock-up, but not all.
2 The question then is how can we adjust the PLD
3 curves for situations with better noise. That's one
4 of the issues which we address.

5 MEMBER KRESS: What causes the noise in
6 an eddy curve probe? Is it flaws in the tubes or in
7 actual --

8 DR. KUPPERMAN: Could be --

9 MEMBER KRESS: -- isn't that what you're
10 looking for and how you run the probe in and out.

11 DR. KUPPERMAN: Well, part of it could
12 be the probe. And then if you realize if it's the
13 probe, you can just change the probe.

14 MEMBER KRESS: Change the probes, yes.

15 DR. KUPPERMAN: But it's deposits,
16 permanently variations, it could be something in the
17 microstructure, maybe it can be localized, geometry
18 --

19 MEMBER KRESS: But it's not something
20 that's externally applied? It's just because of the
21 tube characteristics and the way the --

22 DR. KUPPERMAN: Well, the deposits on
23 the tube --

24 MEMBER KRESS: The deposits on the tube.
25 But I'm not calling that's external.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. KUPPERMAN: Cold walling and
2 rippling from the working.

3 MEMBER KRESS: So these are natural
4 things that are there?

5 DR. KUPPERMAN: One issue is how do you
6 measure the noise and this is an issue that's
7 discussed extensively throughout the industry.

8 We had a meeting at Argonne with experts
9 from the industry to discuss the noise issue and how
10 to deal with it. One of the simplest things you
11 could do is to measure the RMS noise, but it really
12 isn't a good measure for detection because in the
13 way that the signal is generated by a flaw, you
14 really want to look at the so called vertical
15 component.

16 I mean, you -- at Y axis and Y axis and
17 you're basically looking at a jump in the signal in
18 the Y axis. So you don't necessarily want to
19 measure the entire signal because it could account
20 for the noise that you could easily -- a signal that
21 you could even dismiss.

22 Now, the other problem is that a noise
23 level that might significantly affect detection --
24 that may not significantly affect detection could
25 have a profound effect on the attempts to sizing.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: I'm going to ask
2 you again about this noise. I mean, this is the
3 noise -- if you just leave the probe in one place,
4 you're not traversing at all, do you get wiggles in
5 the signal because maybe the probe is isolating in
6 the tube or something?

7 DR. KUPPERMAN: Wobbling the probe is a
8 probe?

9 CO-CHAIRMAN WALLIS: It isn't centrally
10 in the tube? And isn't there's always some
11 clearance and so on --

12 DR. KUPPERMAN: Resolve the clearance
13 changes, things like that.

14 CO-CHAIRMAN WALLIS: I noticed that the
15 rotating one that you handed around wasn't straight,
16 so that might make a difference. Someone dropped
17 it.

18 DR. KUPPERMAN: Well, I didn't bring one
19 that we use.

20 CO-CHAIRMAN WALLIS: So there are things
21 like that that it's -- I mean, the real physical
22 causes for this?

23 DR. KUPPERMAN: There are physical
24 causes --

25 CO-CHAIRMAN WALLIS: You know, even if

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it started in the tube just sitting there, it could
2 pick up something which is oscillatory?

3 MR. EMERSON: The probe itself could be
4 a problem. That's, of course, the simplest thing to
5 fix. That's true.

6 MR. SHACK: U bends are associated with
7 probe wobble, for example.

8 CO-CHAIRMAN WALLIS: Well, I guess a
9 dent, I mean if it goes by a dent it moves over to
10 one side and -- because it's got to be smaller than
11 the tube to get in there by a certain amount to
12 account for the variations in the tube.

13 DR. MUSCARA: The elements are also
14 spring loaded, so you get a larger fill factor as
15 you can get. So, yes, there is some probe wobble,
16 movement, but that's also limited. I think a lot of
17 the noise we're talking about is noise that's there
18 inherently in the generator because of things like
19 copper deposits and magnetite treat treatments.

20 CO-CHAIRMAN WALLIS: So there are real
21 things there which are not cracks that effect --

22 DR. MUSCARA: Right, that produce --

23 CO-CHAIRMAN WALLIS: Not what I would
24 think of as extraneous noise due to picking up radio
25 signals from something or something like -- an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 external signals which have nothing to do with it.

2 MEMBER KRESS: Yes, that's what I was
3 asking.

4 CO-CHAIRMAN WALLIS: Yes.

5 DR. KUPPERMAN: One of the key problems
6 is that that's how you measure noise and you measure
7 it at some location away from where the flaw is
8 actually located. That may not give you the
9 information you need. You really need to know what
10 the noise level is at the location of the flaw. And
11 that's one of the difficult issues to deal with.

12 At Argonne with the mock-up we have
13 noticed that we need a signal-to-noise ratio greater
14 than 2 to 1 to assure that you've have a 90 percent
15 probability of detection for those mock-up flaws.
16 And this ratio of two to one is consistent with the
17 results that have been presented by our Canadian
18 colleagues. They also come to that, pretty much the
19 same conclusion, that that's the kind of a signal-
20 to-noise ratio that you need to get very high
21 probability of detection.

22 CO-CHAIRMAN FORD: But presuming that
23 ratio is a good deal higher for the current
24 commercial techniques, not just your m_p techniques,
25 the analysis of it?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 THE COURT: We're talking about using
2 the current commercial techniques.

3 CO-CHAIRMAN FORD: Okay. It's just that
4 you said that Argonne --

5 DR. KUPPERMAN: You can detect flaws
6 less than -- you can detect flaws when the signal-
7 to-noise ratio is 1.1 if you're familiar enough with
8 the pattern that might be generated.

9 CO-CHAIRMAN FORD: Okay.

10 CO-CHAIRMAN WALLIS: But this must
11 depend on the size of the floor. I mean, you have a
12 piece of size magnetite there which shouldn't be
13 there, that it means that it behaves as if it were a
14 flaw, which is .2 thickness or something. So I have
15 real trouble detecting small flaws. But a big flaw
16 would be fine.

17 DR. MUSCARA: Well, again, it depends on
18 the earlier discussions. If the big flaws don't
19 have a big response, and very often they don't.

20 CO-CHAIRMAN WALLIS: Well, then that's
21 the problem, too.

22 DR. MUSCARA: Then it's buried in the
23 noise.

24 CO-CHAIRMAN WALLIS: That's the problem,
25 too, yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. KUPPERMAN: The work at Argonne
2 regarding the mock-up involves simulating the noise
3 that we observe in the field. and we can do these
4 electronically. We can add noise to a flaw signal
5 and then determine if the flaw could be detected,
6 and we could vary the noise.

7 So here's a flaw, here's noise and we
8 can combine it to create this --

9 CO-CHAIRMAN WALLIS: Jungle.

10 DR. KUPPERMAN: -- signal which is not
11 to easy to --

12 CO-CHAIRMAN WALLIS: I think the right
13 hand thing would baffle.

14 DR. KUPPERMAN: And we're doing this to
15 a variety of flaws in the mock-up. And then we will
16 have readjusted POD curves for the various noise
17 levels that we --

18 CO-CHAIRMAN WALLIS: Well, is this an
19 aggregation here? I mean, that noise looks as if
20 it's overwhelming the signal.

21 DR. KUPPERMAN: Well, this is an example
22 of it.

23 CO-CHAIRMAN WALLIS: It's an extreme
24 case?

25 DR. MUSCARA: No, I don't think so. I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 mean --

2 CO-CHAIRMAN WALLIS: No? This is really
3 what you can have?

4 MEMBER SIEBER: Well, no, you can have
5 noise levels that high, but that would be on the
6 upper end of noise. Because the applitude is
7 comparable to amplitude of the flaw.

8 CO-CHAIRMAN WALLIS: That's terrible.

9 DR. KUPPERMAN: So it can, as you can
10 see, create a lot of problems.

11 CO-CHAIRMAN WALLIS: Wow.

12 DR. KUPPERMAN: Bill will now finish up
13 this part.

14 MEMBER BONACA: Yes, I don't know much
15 about this field here, but the question I have is
16 averting SCs at the current, is there any other
17 technique that one could imagine that could
18 supplement or compliment what you're doing here?

19 DR. KUPPERMAN: Efforts to evaluate
20 ultrasound probes.

21 MEMBER BONACA: Okay.

22 DR. KUPPERMAN: The Belgiums use
23 ultrasonic probes in some cases. There have been --
24 there's been some work in the United States to look
25 at all kinds of ultrasonic techniques.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 On the treating possibility is to use a
2 ramwave, the platewave that would send a signal to
3 the entire tube and you would be looking at echoes
4 in the scattered pattern that would give information
5 in a second about the entire tube, but the results
6 have not been satisfactory.

7 MEMBER BONACA: What about in
8 supplementing with something eddy current? I mean,
9 I understand that there is a concern about the time
10 you spend doing this, but --

11 DR. KUPPERMAN: Ultrasonics are also
12 rather slow because -- well, after the ramwave, but
13 that didn't work. But if you have a rotating probe
14 going around, it's very slow. But the advantage
15 would be, especially in crack depth measurements, if
16 you could get enough of a signal off the cracked
17 tip, then you could use a crack tip echo to estimate
18 the depth. And a lot of work is being done by EPRI
19 to try to validate a technique that they're
20 developing for that specific purpose. But, you
21 know, it's still in the -- it's not ready to be used
22 right now.

23 CO-CHAIRMAN WALLIS: If you go back to
24 your previous slide, I can't believe this is
25 realistic. I mean if the real signal should be on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the left, and that's how I see a flaw --

2 DR. KUPPERMAN: Right.

3 CO-CHAIRMAN WALLIS: The one on the
4 right, the guy looking at that can either say it's
5 almost all noise except for the big one, which is a
6 crack. All he could say I've got a thousand cracks
7 in here, whatever. I mean, they could all be
8 cracks, all those giggles could be cracks. How does
9 he know which is a crack and which is noise? Does
10 he sort of say I can't believe there are that many
11 cracks, therefore it must be noise except for the
12 big one?

13 DR. KUPPERMAN: Well, what you would say
14 is that the noise level is so high that the
15 probability now of detecting a flaw with a depth of
16 80 percent drops from, let's say, 90 percent to
17 maybe 50 percent. So basically the idea is that you
18 could still see a flaw in very large --

19 CO-CHAIRMAN WALLIS: Because it would be
20 a deviation of this pattern of noise?

21 DR. KUPPERMAN: It would stick up, way
22 out.

23 CO-CHAIRMAN WALLIS: It would be a
24 deviation from the background pattern.

25 DR. KUPPERMAN: Which the ones that have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a smaller amplitude are comparable to the noise
2 would not be there at all.

3 CO-CHAIRMAN WALLIS: It would disappear,
4 it would disappear, right.

5 DR. KUPPERMAN: And so you would have an
6 adjustment in the POD or you would plot the two.

7 DR. MUSCARA: If there's a question
8 about the signal and the inspector decides to call
9 it, then the next steps are to use at that section
10 of signal, use the different frequencies --

11 CO-CHAIRMAN WALLIS: What sort of
12 frequencies do they use?

13 DR. MUSCARA: And they also take a look
14 at the data --

15 DR. KUPPERMAN: 100 to 400 kilohertz for
16 the bottom coil. Typically 300 kilohertz --

17 CO-CHAIRMAN WALLIS: Three hundred
18 kilohertz.

19 MR. SHACK: One of the things we're
20 concerned about is to estimate the impact of noise.
21 As we've said, we've talked about characterization
22 of the noise. We've also noted that the noise level
23 in the mock-up is less than in most plants. So we
24 somehow have to be able to estimate the impact of
25 this higher noise on the PODs that we determine in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the round robin. And we've looked at two approaches
2 to do that.

3 I discussed the Berens model for
4 probability of detection before where, again, we had
5 a response that was normally distributed and the POD
6 was basically based on the idea that the response
7 would achieve the noise level. And so it turns out
8 that in that case the shift in the curve of very
9 simple, it's basically the delta noise over that
10 thing that characterizes the spread in the response.

11 Now, again, the limitation of it is of
12 course is we pretend that the response is in fact
13 the vertical component of the bobbin coil, and
14 really the response is a pattern recognition scheme.
15 So we're making a kind of an assumption here that
16 it's a good enough surrogate for the response that
17 we can use it. And, again, that's something -- we
18 wanted to look at a different way of approaching
19 this that didn't have to make that assumption.

20 And then the other one was to go back to
21 an empirical determination of the probability of
22 detection at the function of the signal-to-noise
23 level. And we could do that with the data in the
24 mock-up, but we had a probability of detection for
25 each of the curves. As I'd mentioned before, we had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 measured the depths of each of the curves. We could
2 also measure the signal-to-noise level of each of
3 those curves and instead of characterizing the
4 probability of detection of detection in terms of
5 the depth, we would characterize the probability of
6 detection in terms of the signal-to-noise.

7 If you take that piece of data, POD is a
8 function of signal-to-noise, then we have a
9 different correlation which is signal-to-noise is a
10 function of depth and we can essentially convolve
11 the two to get back to a POD as a function of death,
12 which is our classical POD curve. We can account
13 for the noise by essentially changing the signal-to-
14 noise as a function of depth. That is, we would
15 simple say that for higher noise levels we would
16 decrease the signal-to-noise for those depths and
17 adjust the noise that away.

18 And, again, the limitation of the bobbin
19 coal response is sort of accounted for in this
20 empirical POD versus S/N curve; that we don't simply
21 have a simple threshold level which is kind of the
22 Berens model which says, you know, when your
23 response gets to some level, bingo, you suddenly can
24 detect it. We actually have a kind of a POD curve
25 that takes into account the fact that not all

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 signal-to-noise levels are equal, and in fact --

2 CO-CHAIRMAN WALLIS: I don't think all
3 noise levels are equal either. There may be noises
4 that look like cracks and the noise that looks like
5 a --

6 MR. SHACK: Yes. Now again, we've
7 already assumed that we're characterizing the noise
8 in the best way we can, which is the vertical
9 component of the voltage local to the flaw.

10 CO-CHAIRMAN WALLIS: But if the noise
11 were a random sort of thing, then that's very
12 different from a noise which is a magnetite deposit
13 which looks like a crack which may be here, there
14 and there and therefore it produces a blip without
15 any background noise anywhere else. That would
16 probably be called a crack, although it's really
17 noise.

18 DR. MUSCARA: Those noise doesn't look
19 like a crack once you start looking at the base.

20 CO-CHAIRMAN WALLIS: So it doesn't look
21 like a crack. But if you have things that look like
22 cracks which were noise, then you would be in
23 trouble.

24 DR. MUSCARA: The only thing we run
25 across that looks like there's a cross is when

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there's a tubing that's cover with copper and if for
2 some reason there's a little chink of copper
3 missing, that produces a crack-like signal. But the
4 other noise sources --

5 CO-CHAIRMAN WALLIS: The other noise
6 doesn't look like a crack qualitatively. That's a
7 different -- okay. So the quality of the noise
8 makes a difference here?

9 MR. SHACK: Well, Joe's argument is an
10 argument for the Berens model where the only thing
11 that counts is the kind of level of response.

12 CO-CHAIRMAN WALLIS: Now this 300
13 kilohertz is the range of frequencies of some AM
14 radio stations, isn't it? You've got a big antenna
15 sitting up there in Argonne --

16 DR. KUPPERMAN: It's not in the range of
17 area stations.

18 CO-CHAIRMAN WALLIS: It's not? It is.
19 Long waves.

20 DR. KUPPERMAN: AM.

21 CO-CHAIRMAN WALLIS: Yes, long wave AM
22 is -- anyway.

23 DR. MUSCARA: WE're talking kilohertz.

24 CO-CHAIRMAN WALLIS: Yes. Long wave AM.
25 Long wave AM. The kind of long wave that comes from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the ship-to-shore.

2 CO-CHAIRMAN FORD: So from a procedural
3 point of view, Bill, if you walk into a plant, plant
4 A, and you're looking at their steam generator
5 tubing do you just do an eddy current analysis on a
6 part of the tube that you're pretty sure is not
7 cracked as you use that as the patent recognition
8 formulation that you use or then you're subtracting
9 that out from anything else? Because that can vary
10 with cold work, magnetite, copper all these other
11 background --

12 DR. MUSCARA: That's how --

13 CO-CHAIRMAN FORD: Is that procedurally
14 how you do it?

15 DR. MUSCARA: They go into a green
16 portion of the tube to measure the noise. And our
17 recommendation we go into the area where we expect
18 the crack and measure the noise around that area.

19 DR. KUPPERMAN: -- and then they see if
20 the noise level is lower than the EPRI guidelines so
21 that they can proceed.

22 THE COURT: And that's a very good way
23 to treat certain kinds of noise, you know. The
24 probe ware noise, that's a reasonable sort of thing.
25 It may not be the best way to determine a noise

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 level to use in this adjustment of the POD curve,
2 in which we suggest that you use a noise measurement
3 essentially in the area where you're looking for the
4 crack. It's more difficult to characterize as a
5 signal.

6 And, again, when we look at this -- you
7 know, our noise level is not -- that is, we think
8 the noise level in the field is somewhere between
9 what we have in the mock-up and about twice the
10 noise level we have in the mock-up. That if
11 somebody actually had higher noise, they'd be out
12 there working in the inspection to find some way to
13 get the noise level down. They probably wouldn't
14 try to actually do an inspection with noise levels
15 much higher than that. So there is a certain range
16 of levels of interest here that we think that people
17 actually do work in.

18 And what I wanted to show here is that
19 I've shown my essentially originally determined POD
20 curve and then my reconstructed curve used the POD
21 as a function of signal-to-noise, and then the
22 signal-to-noise with depth to reconvolve back a POD
23 as a function of depth. So, again, my mechanism at
24 least gives me back my original curve. I then apply
25 my higher noise level and then convolve that back

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with my POD as a function of signal-to-noise and I
2 get a new lower curve at the higher noise level.

3 And I can compare the two approaches.
4 The Berens approach where I simply shift the mean
5 curve by the noise over the spread and responses and
6 the more complicated case. And at least the
7 comforting thing is that I seem to get answers that
8 aren't too different. So I've taken two fairly
9 different approaches to doing it and come up with
10 answers that are not too different. And our feeling
11 is that these curves kind of bound the range of
12 responses that one would expect. If you don't
13 expect to find noise levels much higher than those
14 represented by the lower curve --

15 CO-CHAIRMAN WALLIS: So when you say
16 signal-to-noise ratio, your metric is amplitude or
17 maximum amplitude or what is it?

18 MR. SHACK: It's the vertical voltage.
19 The vertical component of voltage.

20 CO-CHAIRMAN WALLIS: It certainly isn't
21 an RMS, because the signal has a very low RMS. It's
22 only there some of the time. It's a peak.

23 MR. SHACK: Yes.

24 CO-CHAIRMAN WALLIS: It's a peak. The
25 signal is an occasional blip.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. KUPPERMAN: We have been --

2 CO-CHAIRMAN WALLIS: Well, they already
3 established the signal is nothing because most of
4 the tube there's no signal at all.

5 MR. SHACK: There's a window that you
6 select over which to do the averaging.

7 CO-CHAIRMAN WALLIS: Ah.

8 DR. KUPPERMAN: And with that, we
9 recommend a side window rather than a fixed window.

10 MR. SHACK: Starting to get down to the
11 details we hope to skip over here.

12 CO-CHAIRMAN WALLIS: Well, you're in
13 pretty deep detail already.

14 DR. KUPPERMAN: Okay. The last topic is
15 the --

16 CO-CHAIRMAN WALLIS: This is the one
17 everybody should be using.

18 DR. KUPPERMAN: The advances in the
19 array probe, and specifically we'll talk about the
20 X-probe.

21 It has 36 coils essentially going around
22 its circumference and it's based -- rather than a
23 pulse echo type probe.

24 It has great advantages, one of which it
25 can move through the tube as fast a bobbin coil

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 while at the same time gathering information almost
2 as detailed as a rotating pancake one. The
3 difference is that since there's only a limited
4 number of coils going around the tube, you don't get
5 as many points in a circumferential scan as you
6 would with a surface riding pancake coil that's
7 picking up 83 times -- so there is a slight
8 difference in the spacial revolution.

9 The use of this, I believe and I think -
10 - will increase in time as automated procedures for
11 the data analysis are developed and they are
12 currently being developed by industry. To do a full
13 generator with an X-probe would require terabytes of
14 data. And that tends to slow the analysis down, but
15 as I said, as these procedures that are being
16 developed come validated, I think that you'll see it
17 no more. And there are plants in the United States
18 that are being scanned -- inspected with the X-
19 probe.

20 CO-CHAIRMAN WALLIS: These ones that are
21 being used -- you've got part of the scheme, but not
22 the rest?

23 DR. KUPPERMAN: Right now they're done
24 without automated procedures.

25 CO-CHAIRMAN WALLIS: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. KUPPERMAN: But there's development.
2 Argonne's actually involved a little bit with --
3 actually a lot but not necessary me, with the
4 development of these automated techniques --

5 CO-CHAIRMAN FORD: Now where is this X-
6 probe, who has developed it?

7 DR. KUPPERMAN: The X-probe is AECR and
8 RD Tech combined effort.

9 MR. SHACK: But we should mention there
10 are other array probes.

11 DR. KUPPERMAN: There's another one from
12 -- there's the MHI intelligent probe that is
13 comparable. And that's being loaded by a company --

14 DR. MUSCARA: I'd make a comment maybe.
15 It's not in our mission to develop -- to look for
16 which probe is the best. What we're doing is
17 clearly for those techniques that are currently used
18 in the field, we needed to quantify their
19 reliability. So when industry comes in with a claim
20 that they've detected or not detected a flaw, we
21 would like to know what was the probability.

22 Now, the reason the X-probe was in the
23 program, because in the program we also have a task
24 to evaluate evolving techniques that have a good
25 chance of being fieldable and used in the field.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And so we want to get ahead of the game to quantify
2 its capability also.

3 And since the Canadians are participants
4 in our steam generator international program, we've
5 made use of their technology and their teams to
6 evaluate this probe also. But we're not out there
7 to look for what's the best probe. We want to know
8 what is the capability of the probes that are being
9 used or have a good potential of being used in the
10 field.

11 DR. KUPPERMAN: This slide gives you a
12 comparison of the imagining techniques. The
13 imagining results. So the lower left would be the
14 standard X with the standard plus point amplitude 3-
15 D image of the flaw. And you would have to go in
16 and analyze either the -- figures and it's somewhat
17 complicated for this kind of flaw. But when we took
18 a look at the same flaw with the X-probe the result
19 is divided up into two images, one of which is
20 looking only at axial indications and the other one
21 is looking at circumferential indications. So you
22 immediately see in this case that this a
23 circumferential crack and it's obvious.

24 CO-CHAIRMAN WALLIS: I'm trying to think
25 about what the ACRS intended, and it's all in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 memory. But I'm just trying to think what Dana was
2 saying.

3 The impression I got from some of the
4 things Dana said was that we were not just saying
5 you need to know better how good your measurements
6 are today, I think we were also saying you really
7 need better measurements. I think that was part of
8 the ACRS intent. And this is in response to that,
9 that idea. I don't think we were just saying you
10 want to know better, though you certainly did, the
11 faults of some not very good way of measuring but
12 really there ought to be more reliable better ways
13 of measuring. I think that's what we were saying.
14 But, again, this is just from memory.

15 DR. MUSCARA: I think the key comment
16 really in the ACRS recommendation was that the
17 points -- that the fixed value of POD was not
18 realistic. And at that time we already had a great
19 deal of work going on. And you said well look,
20 we're looking at POD, not just at the point value
21 for a single parameter, for the different flaw
22 parameters and their value entirely over the entire
23 size range.

24 And I guess I must say we're doing other
25 work that's related to eddy current which we're not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 covering, but the idea here was let's address the
2 specific comment of the fixed value and other
3 related interesting information. But I don't think
4 we're responding to the need to do better
5 inspection.

6 CO-CHAIRMAN WALLIS: This is a very
7 strange kind of industry this, because there's all
8 this emphasis and knowing better how good or bad
9 what we've got is whereas the engineering solution
10 to most things is to have a better design and a
11 better way of detecting than -- that's the natural
12 thing you do in most industries rather than falling
13 over to get better understanding of how bad your
14 present method is.

15 DR. MUSCARA: Well, how better, how
16 good; this information goes into probabilistic
17 fraction --

18 CO-CHAIRMAN WALLIS: I know. I know.

19 DR. KUPPERMAN: Well, finishing up on
20 this slide, I just wanted to emphasize again that
21 the X-probe and the plus point probe provide an
22 amplitude profile, whereas the multi-parameter
23 algorithm gives you the depth profile that allows
24 you to do cross sections.

25 I can go fairly right to this last curve

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that summarizes the difference between the results
2 for the mock-up using the X-probe versus the
3 composite team result. And you can see that it's at
4 least as good, if not a little better -- it is a
5 little better, actually, for the deeper flaws. And
6 that was a pretty -- you know, that was a result
7 that we got.

8 Down at the bottom --

9 CO-CHAIRMAN WALLIS: It's surprising
10 it's not much better, is it?

11 THE COURT: Well, I mean axial cracks
12 are something bobbin coils are pretty good at, you
13 know. The thing about this is if we looked at the
14 tube sheet and then the cracks, you get a higher
15 speed --

16 CO-CHAIRMAN WALLIS: This is indicating
17 to me that almost any one of the select eddy current
18 or -- sophisticated you make it in terms of looking
19 at small depth cracks.

20 MR. SHACK: That's probably true.

21 CO-CHAIRMAN WALLIS: Must be.

22 DR. KUPPERMAN: Okay. Let me point out
23 that this curve is a result of going through the
24 entire mock-up with a bobbin coil and then going
25 back with the rotating coil and doing an analysis

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and so on. And this is one fast scan without
2 analyzing the data. This does take, obviously,
3 longer to analyze the data but it's empirical in the
4 integrated effort right now to the integrated effort
5 with the bobbin coil -- you can review the summary
6 slides.

7 Okay.

8 DR. MUSCARA: All right. Then I think
9 we move on to 3.7 and 3.8.

10 CO-CHAIRMAN FORD: There are so many
11 slides that are just repeating what's already been
12 said.

13 DR. KUPPERMAN: Yes.

14 CO-CHAIRMAN WALLIS: Well, it addresses
15 the issue that improvements can be made and you've
16 made improvements. Now, how well did you do?

17 DR. MUSCARA: Well, I guess we were
18 addressing again the item which was 3.6 which
19 related to POD. And I think we've characterized the
20 techniques that we use quite well. And provided you
21 with information that was beyond that fixed value of
22 POD and goes beyond just the voltage. We have the
23 MRPC and the actual crack size correlations. So I
24 think that's what was in the action plan. That
25 certainly has been achieved. And I think we have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 gone beyond and have provided you with additional
2 information.

3 CO-CHAIRMAN WALLIS: Well, do the
4 improvements have any impact on reactor safety?

5 DR. MUSCARA: Well, you know, there are
6 a number of different ways to get there. When we
7 look at performance based regulations, we don't
8 specify the technique that they should be using.
9 But if it is a technique that it is not reliable,
10 they may have to do more frequent inspections. If
11 they use a technique that's more reliable, they
12 don't have to be quite as frequent.

13 Some of the improvements come about not
14 necessarily because we're using a better technique,
15 but if in your personal assessment if you need to --

16 CO-CHAIRMAN WALLIS: So I guess we could
17 conclude that if it turns out that all the decisions
18 are the same as they would have been without the
19 improvements -- it's sort of interesting, but the
20 ACRS was asking you to do something which really
21 didn't have any effect.

22 CO-CHAIRMAN FORD: The issue I think has
23 been addressed in 3.6 in NUREG-1740, was this whole
24 question of POD, do you have a process or a
25 methodology to predict the changes of POD as a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 function of voltage that -- things of nature, rather
2 than relying on the POD at .6, which is what you're
3 currently using. And the answer you've got a
4 methodology. How good it is in answering the overall
5 question about PRAs, that's still to come as you
6 develop your program.

7 As to the question of the POD at .6 as
8 to whether that is always conservative or not, I
9 think what you're showing is and you mentioned that
10 Louise was going to address that particular topic,
11 is that correct, and right now? Is that right?

12 DR. MUSCARA: Yes.

13 CO-CHAIRMAN FORD: Okay. And the other
14 question that came up in 1740 was this observation
15 that some of these methodology developments for POD
16 must be a function of improvements in techniques.
17 And you've addressed that to a certain extent with
18 the X-probe. In fact, it doesn't change that much
19 from the graph that we showed you. But okay then,
20 that's the fact. It doesn't change that much. The
21 resolution might change, but not the POD.

22 DR. MUSCARA: I think we need to be
23 careful also about whether it changes the
24 capability. Because if you look just at the bobbin
25 coil -- this is used for screening inspection.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN FORD: Right.

2 DR. MUSCARA: So the bobbin coil by
3 itself may miss flaws in different locations. This
4 other probe, the X-probe has better capability on a
5 single step to detect the flaws. What you're
6 looking here is the combination of the result when
7 you've look at with the bobbin coil plus the
8 rotating probe for a specific location at the
9 support plate, because that's the procedures that's
10 in place these days. But if you're looking for a
11 flaw anywhere in the generator and you have not pre-
12 knowledge of it, the X-probe should be doing a lot
13 better with respect to detection on its first step
14 without any other follow up than the simple bobbin
15 coal.

16 And I'm not sure also that I -- you
17 know, when you say we developed for POD, we in fact
18 have quantified the probability of detection for the
19 current used techniques for the different kinds of
20 degradation.

21 CO-CHAIRMAN FORD: Yes.

22 DR. MUSCARA: And we've done it as a
23 function of --

24 CO-CHAIRMAN FORD: But if you've done an
25 individual -- at DPO, there's a whole question of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 whether you should -- for POD prediction, there's a
2 question of whether you should be using a log-log
3 process or this one that you're using. I think what
4 you're showing is that the one that you're using is
5 defensible because it wasn't clear that it was
6 before.

7 CO-CHAIRMAN WALLIS: Are we going to
8 move on or are we going to stop here?

9 CO-CHAIRMAN FORD: No, no. We're going
10 to quarter past 12:00.

11 I have one last question. All of these
12 developments we've been talking about, I would
13 assume they'd apply equally to 690 as it does to
14 600? I can't think of a physical reason why it
15 should not, but is that true?

16 DR. MUSCARA: We have in this work not
17 looked at 690, but my feeling and I think in general
18 that there are not that many differences. 690 tends
19 to be a little bit less noisy, so any difference
20 it's going in the right direction. 690 will not be
21 worse than the 600.

22 CO-CHAIRMAN FORD: Okay.

23 DR. MUSCARA: We haven't at this point
24 physically tested 690.

25 CO-CHAIRMAN FORD: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: Do you have this
2 POD versus depth. And what matters is is the tube
3 going to bust and presumably it busts if the flaw
4 has a depth close to one. So what really matters is
5 the likelihood of not detecting a flaw when the
6 depth is big. That's the only thing that really
7 matters. So the tail of the right hand corner there
8 which sort of disappears; the probability of not
9 detecting it if it's one percent or five percent
10 makes a tremendous difference. A little difference
11 from one at the right hand end is really what
12 effects the safety, isn't it?

13 MR. SHACK: Well, a much better measure
14 of the structural integrity is the MP curve.
15 Because, again, the depth if it's only a deep curve
16 over a very short portion, you know, it results in a
17 very small leak. So it's the combination of the
18 length and depth that is the concern. And so the MP
19 curve gives you a more --

20 CO-CHAIRMAN WALLIS: Then this business
21 about half -- 50 percent probability or the 50
22 percent depth, that doesn't necessarily effect leaks
23 or anything. It doesn't effect MP much at all.

24 DR. MUSCARA: So.

25 CO-CHAIRMAN WALLIS: So there's a lot of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 effort on getting nice curves when what really
2 matters is that end of it where it's likely break,
3 it seems.

4 DR. MUSCARA: Well, it depends where
5 you're using it. If you're using it in doing an
6 operational assessment and you're depending on
7 detecting small flaws to get the grow rate
8 information, you still need to know --

9 CO-CHAIRMAN WALLIS: You still need
10 that?

11 DR. MUSCARA: Right.

12 CO-CHAIRMAN WALLIS: Okay.

13 DR. MUSCARA: Did you say that it's a
14 matter of a gauge that when you look at MRPC -- a
15 value of MRPC of 2.3 corresponds to a tube failing
16 at three times Δp ?

17 CO-CHAIRMAN WALLIS: Right.

18 DR. MUSCARA: So, you know, anything
19 below 2.3 it will not fail under any realistic
20 conditions.

21 CO-CHAIRMAN FORD: Okay. Do you suggest
22 we move on. We would like to close this particular
23 session right about quarter past 12:00.

24 MS. LUND: I think we're start. I'm
25 Louise Lund. I'm the section chief of the steam

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 generator integrity and chemical engineering section
2 in the Office of Nuclear Reactor Regulation.

3 This is kind of a little shift, because
4 you're no longer going to be hearing about the
5 research results, but people over at the regulatory
6 side. So I just wanted to kind of set the stage
7 there.

8 I also wanted to recognize Ken Karwoski
9 is also the senior level advisor for the steam
10 generator workover in NRR. And he's here also to
11 answer questions and help with this presentation.

12 I'm going to be covering two on the
13 steam generator action plan items 3.7 and 3.8.

14 And also I think we need to kind of get
15 a little more tightly focused, too, in that the
16 discussions I'm going to have are relative to the
17 plants that are implementing the Generic Letter 95-
18 05, the voltage based criteria. And these two
19 particular items are specific to things that came up
20 and were discussed in the NUREG by the Committee on
21 two different items for Generic Letter 95-05.

22 The first one, 3.7, has assessed the
23 need for better leakage correlations as a function
24 of voltage. Actually, let me page down here. Okay.

25 Assess the need for better leakage

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 correlations as a function of voltage for 7/8-inch
2 steam generator tubes.

3 CO-CHAIRMAN WALLIS: Voltage -- excuse
4 me. There is no leak because of voltage. The
5 voltage is what's measured on some standard coil --

6 MS. LUND: Right.

7 CO-CHAIRMAN WALLIS: -- in some standard
8 situation excited in a standard way.

9 MS. LUND: Right. And I also wanted to
10 kind of set the stage, too, in that for this
11 particular correlation for the 95-05 plants there
12 are seven plants that are currently licensed to
13 implement this. And five of them actually are
14 currently implementing it; this is for the 7/8-inch
15 tubes. Okay. There are seven plants licensed to
16 implement, and five are currently implementing.

17 And in three years there's going to be
18 two plants of this population that are going to be
19 replacing. So after three years from now, there's
20 only going to be five plants that are actually going
21 to be licensed to have the 7/8-inch tubes to
22 implement the Generic Letter 95-05 methodology.

23 In NUREG-1740 the ACRS Ad Hoc
24 Subcommittee had concluded that the leakage
25 correlation used for the voltage-based alternative

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 repair criteria, the 95-05, for the 7/8-inch
2 diameter steam generator tubes was poor. And in
3 addition, they said that the Committee could
4 identify for mechanistic reasons why data for the
5 7/8-inch tubes should so poorly relate to the
6 correlations achieved with the data for the 3/4-inch
7 tubes. And went on to say that the lack of the
8 relationship may reflect the scatter and the limited
9 size in the database. Because as I was mentioning,
10 there is not a lot of plants that are actually
11 implementing this.

12 The database for the 3/4-inch tubes
13 exhibited a better correlation.

14 And separate correlations do exist for
15 the 3/4-inch and 7/8-inch databases, and both
16 databases exhibit some level of scatter. The 3/4-
17 inch leakage database contains 48 data points. And
18 the 7/8-inch leakage database contains 31 data
19 points.

20 CO-CHAIRMAN WALLIS: Tell me something
21 about what you mean by these correlations.

22 MS. LUND: Yes.

23 CO-CHAIRMAN WALLIS: Somebody took data
24 about tubes that were leaking and looked at the
25 voltages --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. LUND: Right. Right. Because --

2 CO-CHAIRMAN WALLIS: But they were only
3 tubes which leaked?

4 MS. LUND: Right. As far as what
5 databases they're putting it into, when they take
6 the tube -- they remove the tube and they test it.

7 CO-CHAIRMAN WALLIS: Was it leaking?

8 MS. LUND: If it leaks during the test
9 that they perform, then it's put into this leakage
10 database.

11 CO-CHAIRMAN WALLIS: And then they look
12 at the voltage that went with the leak?

13 MS. LUND: Right.

14 CO-CHAIRMAN WALLIS: And then it doesn't
15 take any account of the same voltage having been
16 measured on many tubes which did not leak?

17 MS. LUND: Well, they also have that in
18 the database.

19 CO-CHAIRMAN WALLIS: Have that as well.

20 MS. LUND: But as far as the
21 correlation, you're going to want to see in a
22 correlation if I have this much voltage I'm going to
23 expect this much leakage.

24 CO-CHAIRMAN WALLIS: But that's the
25 whole point. I mean, if you only look at leaking

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 tubes, what's --

2 MS. LUND: But they're looking at -- I
3 mean the database itself, you know, has that
4 information for the tubes that leak as well as tubes
5 that don't leak. But as far as developing your
6 correlation, you're also going to want -- what's of
7 interest to you is what tubes are actually going to
8 exhibit leakage for a certain amount of voltage.

9 Do you want to say anything, Ken?

10 MR. KARWOSKI: No, I think you're on the
11 right -- the methodology is basically there's a
12 database that says what is the probability that a
13 certain voltage will leak.

14 CO-CHAIRMAN WALLIS: That's what you
15 want to get?

16 MR. KARWOSKI: Right.

17 CO-CHAIRMAN WALLIS: That's what you
18 want to get?

19 MR. KARWOSKI: Right. And so we have
20 that piece. When the ACRS reviewed that a couple of
21 years ago, they didn't have a concern with that
22 database. But then the question became once the
23 indication leaked and you tried to correlate that
24 leakage to a specific voltage, for the 7/8-inch
25 database there was a lot of scatter. So that's why-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 -

2 CO-CHAIRMAN WALLIS: So it's a very
3 different question. Because I would think there
4 would be many tubes which don't leak at all, even
5 though they have quite a voltage.

6 MR. KARWOSKI: Right. And there is --

7 CO-CHAIRMAN WALLIS: But they wouldn't
8 be in this second database, which would only look at
9 the leakers and see what kind of voltage they have?

10 MR. KARWOSKI: Yes.

11 CO-CHAIRMAN WALLIS: It's a very
12 different question.

13 MR. KARWOSKI: Yes.

14 CO-CHAIRMAN WALLIS: And that's why it's
15 such a skimpy small database, is it?

16 MS. LUND: Right.

17 CO-CHAIRMAN WALLIS: Because there
18 weren't many leakers?

19 MR. KARWOSKI: Yes. The probability of
20 leakage database would have more like 130 data
21 points versus --

22 CO-CHAIRMAN WALLIS: Still not very
23 many.

24 MS. LUND: Right. And also realize, too,
25 that database, in the 3/4-inch database 25 of them

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are from domestic pulled tubes and for the 7/8-inch
2 database nine of these database points are from
3 domestic pulled tubes.

4 CO-CHAIRMAN WALLIS: Excuse me. When
5 these guys do what we heard about in the previous
6 presentation, they stick this thing up the tube --

7 MS. LUND: The eddy current probe.

8 CO-CHAIRMAN WALLIS: -- and they get
9 some voltages.

10 MS. LUND: Yes.

11 CO-CHAIRMAN WALLIS: Don't they get lots
12 of voltages which are in this range that you're
13 talking about here? Does the voltage quite often
14 go, at least in the Argonne experiments, up into
15 this range you're interested in or above six or
16 whatever it is? I don't know what the range is.

17 MS. LUND: Right. This information is
18 from tubes that they're pulling and they're actually
19 testing in a lab, okay. They can measure the
20 leakage from these tubes. So these are actually
21 from pulled tube data.

22 CO-CHAIRMAN WALLIS: Well, I guess since
23 you're not showing me any numbers in data, I don't
24 quite know what I'm looking at here.

25 None of the Argonne tests leaked, did

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they? You looked at zillions of flaws and found out
2 if you could detect them, and none of them leaked.

3 DR. KUPPERMAN: Four -- we had four
4 leakers.

5 CO-CHAIRMAN WALLIS: There were four
6 leakers?

7 DR. KUPPERMAN: Yes.

8 CO-CHAIRMAN WALLIS: So what voltage are
9 we talking about here? What range of voltage are
10 you concerned with for leakers?

11 I thought you showed us this -- there's
12 a correlation between voltage and depth, that's what
13 the message was this morning; that there's little
14 correlation between depth of crack and voltage.

15 MS. LUND: Right. But we're not
16 correlating --

17 CO-CHAIRMAN WALLIS: Why are you
18 correlating something --

19 MS. LUND: We're not correlating this
20 with depth. We're actually correlating this with a
21 probability of leakage or a probability of burst is
22 what we're correlating it with.

23 CO-CHAIRMAN WALLIS: So there's no
24 correlation then between depth and burst?

25 MS. LUND: Right. We're not trying to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 correlate it with depth.

2 CO-CHAIRMAN WALLIS: That's very
3 strange. But that's probably why it doesn't work
4 very well. Okay. I have difficulty with this
5 altogether.

6 CO-CHAIRMAN WALLIS: They got a leakage
7 of this eight -- they got a voltage of eight and it
8 didn't burst. But it didn't even go 60 percent
9 through walls. It's not going to leak. So why
10 correlate with something that there's no leakage at
11 all? It doesn't make any sense.

12 MS. LUND: You know, part of the topical
13 that describes this has this information, this data
14 in bins where, you know, it'll go from like one
15 volt, zero to one volt, one volt to two volts, two
16 volts -- for the 3/4-inch and for the 7/8-inch
17 tubes. And we'll show how many leakers they have at
18 each voltage.

19 In fact, I think in that database for
20 the 7/8-inch tubes, I think they didn't have any
21 that leaked under two volts. Is that the kind of
22 information you were looking for?

23 CO-CHAIRMAN WALLIS: Well, maybe.

24 CO-CHAIRMAN FORD: I guess the
25 frustration here is even if you look at the report,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the 3.7 --

2 MS. LUND: Right.

3 CO-CHAIRMAN FORD: There's no data.

4 CO-CHAIRMAN WALLIS: There's no figures
5 or anything.

6 CO-CHAIRMAN FORD: So we're trying to
7 work out, you know, when you're saying a lack of
8 correlation what's the data which has not been
9 correlated? Is it leak rate versus voltage?
10 There's no correlation with the 7/8-inch tubes where
11 there is for the 3/4-inch? What is the relationship
12 for which there is no apparent correlation?

13 MS. LUND: Well, this is the probability
14 of leakage and probability of burst correlations
15 with voltage. That's the two correlations we have.

16 It looks like Ken wants to say
17 something.

18 MR. KARWOSKI: But to specifically
19 answer your question, the correlation which we're
20 talking about, the correlation is weak, is the
21 correlation of leak rate to the bobbin voltage.

22 MS. LUND: Right.

23 CO-CHAIRMAN FORD: Right.

24 MR. KARWOSKI: So that is the specific
25 issue that we're trying to address.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 With respect to the data, all the data
2 was presented to the Committee two years ago and
3 that's why the report, basically, just addresses the
4 technical issue.

5 CO-CHAIRMAN FORD: Okay.

6 MR. KARWOSKI: It doesn't get back into
7 here is all the data. I mean, we have numerous
8 reports where all the data is shown again and you
9 can look at it and see that --

10 CO-CHAIRMAN FORD: But i guess what's
11 frustrating here is that we have just learned that
12 there is no fundamental physical relationship
13 between voltage and crack depth. And therefore, why
14 should you would expect it therefore to be a
15 relationship between voltage and leak rate?

16 MR. KARWOSKI: I guess we've known that
17 the industry has had a curve similar to what you saw
18 this morning since the early 1990s. We knew that
19 voltage did not correlate to depth. If it did, the
20 industry probably would have just made a proposal to
21 voltage size -- to size the cracks with the voltage
22 and apply a depth base repair criteria.

23 CO-CHAIRMAN FORD: Yes.

24 MR. KARWOSKI: What the industry decided
25 to do was correlate voltage to the structural

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 integrity, the burst pressure of the tube and also
2 to leakage integrity. With that there is scatter in
3 these databases, just like with any database, there
4 is scatter in the data. So a given voltage you have
5 a probability of leaking. You may test a 3 volt
6 flaw. Fifty percent of the time it may leak, 50
7 percent of the time it may not leak. And that fact
8 is included in their assessment of leakage
9 integrity.

10 But then the concern is, is once it does
11 leak, how much will it leak? And that's the issue
12 we're talking about here is because the correlation
13 for the 7/8-inch tube is a little --

14 CO-CHAIRMAN WALLIS: Well, I guess the
15 problem I have -- I get the impression of what
16 Argonne is doing is they're looking at -- you
17 measure something, you get a crack, you look at your
18 MP, you look at the loading conditions and you
19 decide is this crack going to grow, is it going to
20 be a leak? So it's a physics behind why there's a
21 leak.

22 I get the impression that's what
23 correlated here is just with no physics whatsoever.
24 You just have some leakers and some --

25 MR. KARWOSKI: Well, it is --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: Is that you knew
2 nothing, you're just trying to fit some points on a
3 plot.

4 MR. KARWOSKI: It is an empirical
5 correlation between the voltage that they can
6 measure in the field versus what they observe
7 through the testing. It is an empirical
8 correlation.

9 CO-CHAIRMAN WALLIS: Okay. There is no
10 physics, there's no cause and effect or anything in
11 this at all?

12 MR. KARWOSKI: Well, in general what the
13 -- you know, the voltage is a measure of the amount
14 of interference the crack -- essentially the
15 interface that the crack will have to the eddy
16 current. And so there is some physics, you know.
17 But with that said, you can have a very tight crack
18 which in general we don't observe. A very tight
19 crack with a low voltage that could have a low burst
20 pressure. But from field data in general, that type
21 of crack in general doesn't exist.

22 CO-CHAIRMAN FORD: So the specific
23 question that was raised in 1740 was that, okay,
24 even given there's an empirical relationship between
25 voltage and leak rate, why physically should there

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be a difference between 3/4-inch and 7/8-inch tubes?

2 MS. LUND: Well, why should the data
3 look different? Why -- yes.

4 CO-CHAIRMAN FORD: And now you're going
5 to tell us that?

6 MS. LUND: Right. And I think there are
7 things that have been done since then, okay. And
8 that's some of the stuff that I wanted to discuss
9 today.

10 I guess the next thing, just kind of
11 getting through this slide. I would say that our
12 bottom line is is there's a simple explanation the
13 differences and correlations could not be
14 established. And I think that when we looked at
15 this, you know, possible source of scatter are that
16 the pre-pull voltages are used. Either the cracks
17 may open up through the pulling process and this
18 would lead to higher leakages, you know, actually
19 when measured in a lab, which is a conservative
20 thing because, you know --

21 CO-CHAIRMAN WALLIS: Excuse me. You
22 don't have a simple explanation. Do you have a
23 complex explanation?

24 MS. LUND: Well, we have --

25 CO-CHAIRMAN WALLIS: You just have a lot

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of hypotheses, but no explanation?

2 MS. LUND: Well, one thing that we -- I
3 think that as far as a -- one explanation or one
4 thing that has been done since then is removing the
5 French data. And actually the next slide gets into
6 that.

7 CO-CHAIRMAN FORD: I'm sorry. Before
8 you confuse us more.

9 MS. LUND: Yes.

10 CO-CHAIRMAN FORD: A question about the
11 pre-pull voltages. Did I understand, therefore,
12 that the 3/4-inch database was all done on not
13 pulled tubes?

14 MS. LUND: No. No. That's not what I'm
15 trying to say. What we're trying to say is, is that
16 both databases exhibit scatter. 7/8-inch exhibits
17 more scatter, but it's not because the 3/4-inch does
18 not exhibit scatter. In fact, if you look -- and
19 that's what I was trying to get to in the discussion
20 I had earlier of how many plants are actually
21 represented in the database, I think it's a small
22 database to begin with. You know, when I was saying
23 for the 3/4-inch database you have 25 data points --
24 I mean as far as the leadage data points from
25 domestic pulled tubes and in the 7/8-inch database

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you have nine from the domestic pulled tubes. You
2 know, there's about the same amount in the
3 laboratory. Twenty-three for the 3/4-inch database
4 from the laboratory and 7/8-inch database you had 22
5 from the laboratory. But that's still a relatively
6 small data set.

7 And in order to try to improve the
8 correlation, industry proposed removing the French
9 data because they were able to show that they were
10 from different populations. They were able to
11 establish the statistical differences.

12 CO-CHAIRMAN WALLIS: So how many data
13 points did they throw out then?

14 MS. LUND: As far as the French data?

15 CO-CHAIRMAN WALLIS: Yes.

16 MS. LUND: Do you -- Ken has actually
17 the graph from that.

18 MR. KARWOSKI: In the leakage database
19 there are approximately 2 data points. But those
20 two data points --

21 CO-CHAIRMAN WALLIS: So there are two
22 out of 31? Okay.

23 MR. KARWOSKI: Two out of 31.

24 CO-CHAIRMAN FORD: Okay. Now why were
25 the French data pulled? You say it's different

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 circumstances?

2 MS. LUND: Well, right. Right. In fact,
3 that's going to be the next slide.

4 As far as the elimination of the French
5 data, is they were able to establish that there was
6 a statistical and mechanistic difference in what was
7 contained in the French data. And we're trying to
8 say by that is that they were -- the French data had
9 high voltage data, so they were getting higher
10 voltages with part through wall cracks. When you
11 look at the U.S. data for the same voltages, they
12 were almost all through wall. So what that infers
13 is lower leakage for the same voltages for French
14 data. And so you could see how that would skew the
15 results.

16 CO-CHAIRMAN FORD: Well, that's only two
17 data points out of 31.

18 MS. LUND: Well, it's actually --

19 CO-CHAIRMAN FORD: I can't imagine it
20 would make much difference in the correlation
21 factor.

22 MS. LUND: Well, as far as plant data
23 there's two out of nine.

24 CO-CHAIRMAN WALLIS: But essentially
25 these are the same plants and the same technique?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. LUND: Well, I think that that's
2 probably where we probably have a lot of questions
3 as far as how much is consistent, how they apply the
4 voltages. You know, if there is a --

5 CO-CHAIRMAN FORD: When you say
6 elimination of two data points from the French, how
7 much did that improve the correlation factor?

8 MS. LUND: Well, that did improve the
9 correlation.

10 CO-CHAIRMAN FORD: It did?

11 MS. LUND: It did improve the
12 correlation.

13 CO-CHAIRMAN FORD: By how much?

14 MS. LUND: Do you have a --

15 MR. KARWOSKI: It would be in terms of
16 like a p value of the probability of having no
17 slope. I could look up the exact value and get that
18 to you on the break. It depends on the database
19 you're looking at. Well, I found it.

20 The p value with all the data is 3.5
21 percent, okay? With the EDF data removed that
22 reduces it to .9 percent. But I think the key point
23 is there was one extreme data point that the EDF
24 data had very high voltage indication which leaked
25 very little. And by removing that, you greatly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 improve the correlation.

2 MEMBER SIEBER: Do you think that was
3 just an error or a different kind of a probe or no
4 thinking at all?

5 MR. KARWOSKI: We could not identify a
6 specific error. If there was a specific error, it
7 would have just been eliminated based on that. We
8 only have -- we do not have an exact --

9 CO-CHAIRMAN WALLIS: It didn't leak at
10 all?

11 MR. KARWOSKI: What's that?

12 CO-CHAIRMAN WALLIS: It didn't leak at
13 all?

14 MR. KARWOSKI: It did leak.

15 CO-CHAIRMAN WALLIS: It did leak, but
16 not very much?

17 MEMBER SIEBER: Right.

18 CO-CHAIRMAN WALLIS: But Argonne showed
19 us this morning that there's a nice one that has a
20 huge voltage of 8 and didn't even crack half -- it c
21 cracked way through the tube. So it can happen that
22 you have a high voltage and no leak. So you can
23 have a high voltage and a small leak. It's quite
24 reasonable. Why throw it out?

25 MR. KARWOSKI: When you look at all the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 French data together, you do statistical analysis,
2 there is a statistical -- no, no. There's more
3 French data than just the tube. We're specifically
4 talking about the leakage here.

5 When you look at the French data --

6 CO-CHAIRMAN WALLIS: But you see my
7 problem here, right? You're throwing out something
8 which has a high voltage and a small leak because
9 you don't like it and Argonne has data which showed
10 us this morning high voltage with no leak at all,
11 which is even more extreme. Now, you see what I
12 mean, the problem I have? A small leak and no leak
13 at all are kind of similar. But no leak at all is
14 even further a deviation from the correlation.

15 MR. KARWOSKI: But it's inconsistent
16 with the industry database.

17 CO-CHAIRMAN WALLIS: Okay. Well --

18 MR. KARWOSKI: It's inconsistent with
19 the industry database.

20 CO-CHAIRMAN WALLIS: Okay. When you get
21 to the summary slide, we'll see what we see.

22 MEMBER SIEBER: Actually the correlation
23 between voltage and what kind of characterized
24 indication you have, you know a given voltage could
25 result from a whole bunch of different flaw

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 characteristics, some of which would leak and some
2 of which would not. And so I don't see that it's
3 inconsistent for you to report these kinds of
4 results.

5 The philosophical question becomes
6 should you use all these correlations to be able to
7 come to a conclusion as to whether the steam
8 generator will leak or not leak in a given amount of
9 time. And, you know, this has been argued for
10 years, I guess.

11 MR. KARWOSKI: Longer than that, but
12 we'll take the --

13 MEMBER SIEBER: Well, that's when
14 progress started to be made.

15 MS. LUND: Well, this is also an issue
16 that over time is probably going to become less and
17 less of a concern as plants are replacing. Because,
18 as I was trying to indicate earlier, there's fewer
19 and fewer plants implementing this as time
20 progresses and it's going to continue in that
21 direction.

22 CO-CHAIRMAN FORD: Well, you're correct
23 factually by saying it could become a decreasing
24 problem in this country. But it still means that
25 there's an uncertainty out there as to something

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 physically is occurring in these tubes that you
2 can't explain. And therefore, it could be
3 coincidentally, it could also be applied to the 3/4-
4 inch tubes.

5 MS. LUND: Right.

6 CO-CHAIRMAN FORD: You don't understand
7 what the physics are of this particular phenomena.

8 MS. LUND: Right.

9 CO-CHAIRMAN FORD: And that's what would
10 worry me.

11 MS. LUND: And I think also with the
12 3/4-inch tubes, there's only two plants that are
13 implementing the 95-05 criteria. So as far as --
14 one obvious explanation as far as how the data
15 that's added to the database either make the
16 correlation or make the correlation worse, and so
17 when you have that few plants are actually
18 implementing the criteria, you're not going to get a
19 lot more additional data because you know, as they
20 implement the criteria they're required to pull
21 tubes along the way.

22 MEMBER SIEBER: That's where your data
23 comes from.

24 MS. LUND: Exactly. Exactly. So that's
25 also, you know, a factor in this also is that, you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 know, it's not an area where you're going to get, at
2 least from field data from the plants that are
3 implementing this, a tremendous amount of data to
4 resolve the issue one way or another.

5 MEMBER KRESS: When you make the
6 measurement of leakage, you impose a certain Δp
7 across it and that comes from the tech specs?

8 MS. LUND: Right. It's the 1.4 main
9 steamline break.

10 MEMBER KRESS: Yes.

11 MS. LUND: Right.

12 MEMBER KRESS: So you're imposing a
13 fixed Δp on a tube that is already exhibiting
14 leakage. You know it leaked before you pulled it and
15 put it in the --

16 MS. LUND: No. Actually what they do is
17 that they look at the flaws that are most
18 significant, and that's how they choose the tubes
19 that they -- it isn't because necessarily it's
20 leaking inservice.

21 MEMBER KRESS: Okay.

22 MS. LUND: What they do is they pick the
23 most significant -- least significant tubes. They
24 also try to find one that has two or more
25 intersections of interest. So it kind of makes it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 worth our while to pull that particular tube.

2 MEMBER KRESS: And you could hypothesize
3 physical reasons why you would get different leak
4 rates at different voltages.

5 MS. LUND: Right.

6 MEMBER KRESS: Because voltage doesn't
7 really characterize the pathway for the leak very
8 well.

9 MS. LUND: Right. Exactly. And also
10 when you -- go ahead.

11 MEMBER KRESS: And you put this pressure
12 on it and you don't want that pressure -- Δp does
13 to the pathway either. And it may do different
14 things to the 7/8-inch tube as it does to the 3/4-
15 inch because they have different morphologies to the
16 cracks and different effects.

17 So I could see how you could hypothesize
18 these things and develop a mechanistic model, but it
19 probably wouldn't be worthwhile because you just
20 measure the leak rate versus voltage and --

21 MEMBER SIEBER: It seems to me you
22 measure the leak rate on the stub that you pull out
23 over the steam generator, right? Once you pull it
24 out --

25 MEMBER KRESS: Oh, yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: -- you've changed
2 everything that there is to change.

3 MEMBER KRESS: Oh, you definitely
4 changed things.

5 MS. LUND: I was just about to say
6 exactly the same thing you were saying. I think one
7 of the biggest factors is, is that for -- 95-05
8 criteria a lot of them have gunk in the crevices
9 that tend to make these tubes difficult to remove.
10 Yes. So when you're taking this out it's not a
11 matter of just like, you know, making your cut and
12 it just slides right out. You know, I think that
13 for some of these tubes I think there is a fair
14 amount of force and you have to ask yourself is the
15 crack that is there, how much did it get opened up
16 and how much would it leak in service as versus what
17 it leaked after it was pulled out and the crack was
18 opened up. Obviously the leakage -- at least in my
19 mind, I could see it being higher, and that's a
20 conservative assessment because you're going to
21 actually see more leakage for the same flaw that
22 would be in service that probably wouldn't be opened
23 up quite as much.

24 MEMBER SIEBER: If you actually run the
25 probe through a tube that you've pulled, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 voltages are different, too, which if you have any
2 faith in what he probe is supposed to tell you, you
3 know you've changed the characteristics of the flaw.

4 MS. LUND: Right. And we're using pre-
5 pulled voltages is what we're using so that --

6 MEMBER SIEBER: So there is no
7 correlation to after a pulled leak rate to a pre-
8 pulled voltage.

9 MS. LUND: Right.

10 MEMBER KRESS: But there exists an ACRS
11 letter on this issue.

12 MS. LUND: Beg your pardon?

13 MEMBER KRESS: There is already an ACRS
14 letter on this issue. And it goes back to '95, I
15 guess.

16 MEMBER SIEBER: Yes.

17 MEMBER KRESS: And if I recall, the ACRS
18 found this an acceptable procedure but didn't like
19 the database at all. It just said you need more
20 database before you actually can use this.

21 MEMBER SIEBER: Well, the procedure has
22 some flaws in it. The question is, is it good
23 enough with the data that you have to provide
24 assurance of adequate protection in the operation of
25 a steam generator that has indications in it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: Yes.

2 MS. LUND: Yes.

3 MEMBER SIEBER: And I could see reaching
4 that that conclusion. That's what all this is all
5 about.

6 MEMBER KRESS: Well, okay, and it's all
7 a design basis accident.

8 MS. LUND: Right. Exactly.

9 MEMBER KRESS: So ACRS didn't like the
10 database.

11 MS. LUND: Right.

12 MEMBER KRESS: They thought it was
13 insufficient, but they thought it was an acceptable
14 procedure.

15 MEMBER SIEBER: Yes.

16 MEMBER KRESS: You know, I haven't read
17 the letter since '95, so I don't know --

18 MS. LUND: Yes. And it's actually the
19 methodology has been implemented for 12 years, I
20 mean at this point.

21 CO-CHAIRMAN FORD: Louise, could I ask
22 that you move on to the last subject, 3.8.

23 MS. LUND: Sure.

24 CO-CHAIRMAN FORD: We've got the message
25 on the 3.7.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: Well, could you
2 look at the summary then?

3 MS. LUND: Sure.

4 CO-CHAIRMAN WALLIS: That's what we
5 haven't got, is the bottom line. What is the bottom
6 line of all this?

7 MS. LUND: Well, what the bottom line is
8 that what we noticed since we had the NUREG from the
9 Committee, is that we continued to evaluate the
10 data. We saw the addition of new data in 2001,
11 which was Beaver Valley and 2002 in Sequoyah made
12 the correlation worse but addition of new data in
13 2003 which is from Diablo Canyon made the
14 correlation better.

15 You know, we also saw that as far as the
16 deletion of the French data, that made the
17 correlation better. But I think our conclusion
18 really is more what we were just discussing, which
19 is that we still feel that the leakage methodology
20 is acceptable because Generic Letter 95-05 specifies
21 more than just using information -- it specifies
22 necessary actions in the leak rate calculation when
23 the correlation is weak and it specifies how to
24 account for the uncertainty in the correlation.

25 So even if you end up in a situation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 where you have no correlation, it doesn't lay dead
2 in the water with nothing to do. Okay. I think that
3 the way that this -- go ahead.

4 CO-CHAIRMAN WALLIS: This is the problem
5 that I have with this whole presentation: I mean
6 there's all this stuff about correlation and numbers
7 of tubes and so on. But the bottom line is a report
8 I couldn't understand it at all. Everything is
9 pretty largely methodology except because of
10 something else, and that didn't help me at all. I
11 mean, "this something else" is all this specifies
12 how to account for uncertainty. That's not part of
13 the pervious discussion, so correlation hasn't been
14 improved, the concerns of ACRS are still there. But
15 there's something else you do that makes it all
16 right?

17 MS. LUND: Well, as far as what the
18 Generic Letter specifies that the utility must do
19 when you don't have a good correlation. There is
20 something in there that the staff has found
21 acceptable in the place of having an appropriate
22 correlation.

23 CO-CHAIRMAN WALLIS: What you're saying
24 is that we had a concern about this correlation.
25 And it doesn't really matter because decisions are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 not based on that correlation anyway. There is
2 something else that comes into play, so we should
3 forget it?

4 MS. LUND: Well, no, I --

5 CO-CHAIRMAN WALLIS: Is that what you
6 suggest?

7 MS. LUND: No. I wouldn't summarize it
8 like that. But I think that at least from our
9 perspective in looking at this in the last couple of
10 years there have been things that have improved the
11 correlation, things that have not improved the
12 correlation. I guess, in looking at how to better
13 improve the correlation I think that there is so
14 many different factors that kind of work against you
15 as far as being able to improve the correlation.

16 I think it comes back to what we were
17 saying earlier as far as is there a simpler or even
18 a complex explanation for it that we can do
19 something different than what has already been
20 improved and how well -- you know, the question is
21 is how this actually being implemented in the field
22 and whether it seems to be working in the field.

23 MEMBER SIEBER: The question is really a
24 matter of margin. You know, if you make the voltage
25 low enough at which you have to do something, then

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of course you can have the lousiest correlation in
2 the world and you will end up doing something for
3 every indication. And so if you realistically set
4 the margin to recognize the uncertainty in the
5 correlations, then you can still establish adequate
6 protection, which is where I think is where we're
7 at.

8 You notice that the little blips in the
9 process that some licensee will come in and say,
10 gee, I have this wonderful database for my plant and
11 these steam generators and I would like to raise the
12 voltage at which the alternate repair criteria
13 applies. And some have it and some don't. It
14 depends on the quality of the correlation for that
15 plant, those steam generators.

16 MS. LUND: Right. Because many, many
17 plants are just implementing it for essentially a
18 two volt criteria. So in that range, I would agree
19 with that, that that's --

20 MEMBER SIEBER: There's tons of margin.

21 MS. LUND: There's tons of margin.

22 CO-CHAIRMAN WALLIS: Now you get to the
23 next page and its overall methodology for
24 determining the amount of leakage and assessing its
25 consequences is conservative. There's absolutely

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 nothing in anything I've heard. I just maybe didn't
2 get the information. I read what was sent to me.

3 There's no evidence there to tell me
4 anything about conservativeness of the overall
5 methodology, so there's no way I can believe or not
6 believe this conclusion.

7 MS. LUND: Well, as far as the -- I
8 think that what we were referring to in this
9 particular sentence is how the voltages and the
10 leakages are determined, basically the pre-pull
11 voltage and the leakage that was assessed after the
12 tube was pulled.

13 As far as how it is conservative, I
14 think what we just discussed also and the fact that
15 there is a limitation to the voltages in which
16 they're licensed to use it for.

17 CO-CHAIRMAN WALLIS: They stick this
18 probe up the tube, and they figure the voltage
19 bigger than a certain amount it, they have to
20 replace it or plug it; is that what you're saying?

21 MS. LUND: They plug the tube.

22 MR. KARWOSKI: They're plugging it, yes.

23 CO-CHAIRMAN WALLIS: And you're saying
24 that it's conservative because it's highly unlikely
25 that they would not detect something and that a tube

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 leaked significantly; that's what the conclusion is,
2 presumably?

3 MR. KARWOSKI: No.

4 MS. LUND: Go ahead.

5 CO-CHAIRMAN WALLIS: Well, I didn't see
6 that followed from anything we saw or heard.

7 MR. KARWOSKI: Okay. I guess it wasn't
8 our intent to come back and reproduce the entire
9 methodology. That would take a day in and of
10 itself. Our intent was to focus on the specific
11 comment by the ACRS with respect --

12 CO-CHAIRMAN WALLIS: And my conclusion
13 there is there's been just really no improvement in
14 correlation?

15 MR. KARWOSKI: There has been no drastic
16 improvement with the addition of data. We don't
17 have a simple or a complex --

18 CO-CHAIRMAN WALLIS: So it's still
19 something that might worry you, but you're still
20 thinking the methodology's okay. That's the bottom
21 line?

22 MR. KARWOSKI: That's right. The
23 methodology accounts for the scatter in the
24 correlation. So we do not see a safety issue
25 associated with the use of that correlation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: So nothing has changed?

2 MS. LUND: Dramatically.

3 MEMBER SIEBER: Yes. In what, the last
4 two years, whenever it was we heard the --

5 MS. LUND: Right. Right. You know,
6 because I think that one idea would be you add more
7 data in all of it and it improves it.

8 MEMBER SIEBER: It's supposed to get
9 better?

10 MS. LUND: But that hasn't been the
11 case. So that hasn't been kind of a simple
12 solution.

13 CO-CHAIRMAN WALLIS: Well, the problem I
14 have is that you want me to sign off that you've
15 addressed this issue and resolved it in some way.
16 Well, I have absolutely no basis for making any
17 decision. I mean, the arguments are so waffling that
18 there's no basis for me -- and if you say I got to
19 take two days reading your whole methodology, well
20 maybe that's what's required, but you didn't present
21 any of it. So I have no basis for deciding whether
22 you've done an adequate job or not.

23 MR. KARWOSKI: It wasn't our intent to
24 come here, like I said, it would have taken another
25 -- we assumed that the ACRS having reviewed this two

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 years ago in the context of the differing
2 professional opinion, that we could focus on the
3 issues that were raised. And I guess what the staff
4 is saying is that we don't have a simple explanation
5 for why. There is scattering of database. But the
6 overall methodology for assessing whether or not a
7 plant is safe, how much a tube will leak we believe
8 that we're providing conservative estimates of the
9 amount of leakage during a steamline break. And
10 from that perspective, although we will continue to
11 evaluate data as it comes in, whether or not it
12 changes the correlation or not, we believe we have
13 an adequate safety basis by which to go forward.

14 MEMBER SIEBER: Actually, there isn't
15 much progress you could make because the data is the
16 data and it's generated by industry based on things
17 that happen in their plants. And it hasn't changed
18 much. And so our -- when we complain about the
19 adequacy of the database and you look at it for
20 several years and say, well, the data hasn't changed
21 much, our conclusions at the same. I guess I could
22 sign off on that. Nothing's changed. You know,
23 you're stuck with the data that you're stuck with.

24 MR. KARWOSKI: And that's basically it.
25 The data that we have is the data that we're using.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We're not eliminating any data that we do not
2 believe is not appropriate to eliminate. So the
3 utility --

4 MEMBER SIEBER: Right. There is no
5 issues of new data in that time frame.

6 MS. LUND: Right. And the expectation is
7 not that we're going to get a lot more.

8 MEMBER SIEBER: Right.

9 MS. LUND: So that is kind of a quandary
10 that we're in.

11 CO-CHAIRMAN WALLIS: So the real way to
12 convince us would be to say we're to focus on this
13 overall methodology and say no matter what all this
14 lousy correlation is, we've got a method which is
15 conservative. That's where the focus has to be.
16 Therefore, you don't have to worry about all this,
17 and therefore we should forget about any further
18 studies of adding more data and correlating. But,
19 you know, we haven't seen the arguments for that, so
20 I don't know what we conclude.

21 CO-CHAIRMAN FORD: Could I suggest that
22 we go on? I want to finish this whole subject
23 before lunch time today. It's 20 past 12:00 now.

24 MS. LUND: Okay.

25 CO-CHAIRMAN FORD: Can you hit the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 highlights on item 3.8.

2 MS. LUND: Sure. This one was to
3 develop a program to monitor the prediction of flaw
4 growth from systematic deviations from expectations.
5 And basically the Committee had stated that the flaw
6 growth was inherently nonlinear and occasionally
7 individual flaws can violate even the most
8 conservative linear bounds.

9 Of more concern would be a systematic
10 violation of the linear bounding of the growth
11 process. And I guess our answer for that is that we
12 don't postulate individual flaw growth rates. We
13 have a distribution of growth rates that we expect
14 to observe based on the previous cycle. And that's
15 part of that operational assessment that Joe was
16 referring to earlier.

17 So let me just page down. So when we
18 look at this it relates to the growth of the flaws
19 in the steam generator tubes that are allowed to
20 remain inservice under the voltage based alternate
21 repair criteria, the beginning of cycle and then
22 looking at the end of cycle predictions and see how
23 well they're predicted. And so we ask ourselves how
24 well is the flaw growth predicted by the
25 methodology.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And so the focus of this was a message
2 to the staff to be vigilant in monitoring the
3 implementation of the alternate repair criteria to
4 look for these systematic errors in the flaw growth
5 predictions. So that was the intent of this
6 particular item.

7 And currently, as I was saying earlier,
8 there are nine plants that are authorized to
9 implement this alternate repair criteria. Seven are
10 currently implementing it. Three that implement it
11 now we'll be replacing.

12 So, it's the staff's position that it's
13 important to conservatively project the condition of
14 the steam generator tubes, and that's been our
15 focus.

16 Looking at the projections, obviously we
17 agree with the committee that flaw growth is not
18 linear and flaws can slowly grow until they
19 interlink. And once they do interlink it's possible
20 for the flaws to grow quickly. So these projections
21 that they're making consider these three items,
22 which is the POD which we've discussed earlier, flaw
23 growth, NDE adjustment. And it's important to look
24 at the population rather than the individual flaws.

25 So as far as the methodology, we compare

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the actual burst probability and leakage to the
2 projected burst probability and leakage.

3 If it's nonconservative and we
4 investigate it, we've had a couple of cases in the -
5 -

6 CO-CHAIRMAN WALLIS: I don't understand.
7 I'm sorry.

8 MS. LUND: Beg your pardon?

9 CO-CHAIRMAN WALLIS: I want to get
10 lunch, but what you said there's a problem with flaw
11 growth prediction, the methodology is not very good
12 for predicting flaw growth. Isn't that what we're
13 talking about? How can you predict these burst
14 probabilities based on poor flaw growth model? The
15 issue is the flow growth model itself, isn't it?

16 MS. LUND: Well, what we look at is to
17 see if we have deviations from expectations in the
18 flaw growth methodology. And the --

19 CO-CHAIRMAN WALLIS: But you just
20 predicted, so you can't have a deviation without a
21 data of some sort. I don't understand.

22 MS. LUND: I don't understand your
23 question.

24 CO-CHAIRMAN WALLIS: Well, these
25 deviations for predictions are an actual burst

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 probability or what?

2 MS. LUND: These are the predictions are
3 far as the voltages, the beginning of cycle voltages
4 and the end of cycle voltages. And we're predicting
5 the burst probability and leakage probability.

6 CO-CHAIRMAN WALLIS: And this has
7 something to do with flaw growth?

8 MS. LUND: Right. As far as we look at
9 the voltages from what's found during your
10 inspection and essentially growth over a cycle.

11 CO-CHAIRMAN WALLIS: Okay. So you're
12 looking at the change voltage, is what you say?

13 MS. LUND: Right.

14 CO-CHAIRMAN WALLIS: And the issue was
15 could you predict that?

16 MS. LUND: Right.

17 CO-CHAIRMAN WALLIS: Oh, okay. So it's
18 not -- it's not the issue then and I thought you
19 were talking about whether you predicted the flow
20 growth right?

21 MEMBER KRESS: Yes, but the burst isn't
22 secondary because there's a correlation between --

23 CO-CHAIRMAN WALLIS: I know that.

24 MEMBER KRESS: Yes. Okay.

25 CO-CHAIRMAN WALLIS: But the issue is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 flaw growth.

2 MEMBER KRESS: Right. I agree.

3 MS. LUND: Correct. Because the --

4 CO-CHAIRMAN WALLIS: We're monitoring
5 flaw growth, that's what the issue is. And it has a
6 consequence of bursting, that's interesting. But
7 your program is to investigate flow growth?

8 MEMBER KRESS: Actually monitoring
9 voltage growth.

10 MS. LUND: Right.

11 MEMBER SIEBER: But not to predict when
12 it bursts.

13 MS. LUND: But the acceptance criteria
14 is in the burst probability and the leakage, okay.
15 So you're looking at the probability of burst and
16 probability of leakage and you do have acceptance
17 criteria that you need to stay within. So that's
18 why we go that next step besides just growing the
19 voltages, so to speak.

20 So we have had cases where we have had
21 outliers and we have investigated them in the last
22 couple of years. And it's not uncommon to see
23 deviations from projections and actual, but the
24 projects are generally conservative, but not always.
25 And if it's not, that's when we get into the action

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and we have meetings and we investigate the rational
2 for why there are deviations.

3 And I think over the 12 years that we've
4 been implementing, I think there has been like a
5 handful of these larger voltage indications than
6 were expected. And I think, you know, that's
7 something that certainly we investigate when this
8 comes down. So we do follow up on this. Okay.

9 So in following up from this, there's
10 been some issues that have arisen from plant
11 specific experience. And we were discussing earlier
12 the voltage dependent growth. And some very large
13 voltage changes in a handful of cases, most recently
14 the one from Diablo Canyon.

15 And we also looked at how projections
16 are dependently on the POD, and especially using a
17 .6 like we were discussing earlier throughout the
18 voltage range. In fact, we just reviewed and
19 approved for one cycle an alternative to using .6
20 POD, which is POPCD. And that acronym is based on
21 the probability of prior cycle detection, which this
22 was approved on one cycle basis for Diablo Canyon.

23 The reason why --

24 CO-CHAIRMAN FORD: Essentially what
25 you're doing, if I understand it, you find ah heck,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the thing has gone further than I thought it would.
2 So I'll just go back and revise my POD for the prior
3 cycle. But there's no physical reason for doing
4 that?

5 MS. LUND: There's no physical reason
6 for using a .6 POD across. That's what I would say
7 is that if you look at the data there is, in fact
8 what was presented earlier, it's obvious that the
9 POD curves don't look like a straight line of .6.

10 CO-CHAIRMAN FORD: That's true.

11 MS. LUND: And actually, we've had
12 something in house, actually I would say four --
13 maybe more years. This POPCD really isn't a new
14 idea inasmuch as the industry has looked at
15 different probability of detection curves and more
16 closely represent what they see in the field. And
17 that's where this has actually come out. It wasn't
18 just a matter of, you know, boy my data just didn't
19 come out right and I need to very quickly develop a
20 POD curve that I like and implement it. That really
21 wasn't the rational for --

22 CO-CHAIRMAN FORD: So why didn't you
23 just go straight to a POD versus voltage correlation
24 that was being developed?

25 MS. LUND: Well, there's a POD versus

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 voltage. What they did is they took their plant
2 specific data from the past, I think it's five
3 outages, is that correct? And they put together a
4 POD curve.

5 CO-CHAIRMAN WALLIS: Is the title of the
6 subject wrong? I mean, the program is to monitor
7 the prediction of flow growth. So what I expect is
8 here is our prediction of flow growth and this is
9 what we observed in flow growth.

10 MS. LUND: Right. Right.

11 CO-CHAIRMAN WALLIS: And all this other
12 stuff --

13 MS. LUND: And that is --

14 CO-CHAIRMAN WALLIS: Why are you
15 bringing in all these other things and POD has
16 nothing to do with the flaw growth. It's a question
17 of whether you detected it. Once you detected it,
18 how does it grow; that's the only question that
19 seems to be the subject of the title. It's all very
20 peculiar.

21 MS. LUND: Do you want to go for that?

22 MR. KARWOSKI: If I could.

23 When we say flaw growth, we do not
24 predict on a flaw-by-flaw basis what the growth rate
25 of that flaw will be. What we say is we have a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 distribution of growth rates because we recognize
2 different flaws can grow at different rates from
3 whatever factors. So we have a distribution of
4 growth rates that we apply to what we find during
5 the course of the inspection.

6 Then when we do our next inspection we
7 will find a different distribution of flaws. Some
8 of them will have grown. Some of them will even
9 have voltage less than what we had left inservice
10 before.

11 The reason we look at burst and leakage
12 as one of the measures is to account for the fact
13 that these voltages are effected by NDE uncertainty,
14 flaw growth and also some of the fact that some of
15 these flaws may be new indications that develop. And
16 so that's why we look at all three portions of the
17 end of cycle distribution, if I can call it.
18 Because what we're really trying to access is the
19 ability of the methodology to predict the end of
20 cycle conditions. One of those components is
21 growth, one of those components in NDE uncertainty,
22 and the other component is the probability of
23 detection.

24 Now, when we use the term probability of
25 detection as we discussed with the ACRS several

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 years ago, it's not just a probability that you
2 detect a flaw. It also accounts for the fact that
3 new indications can develop. So the reason we
4 didn't go straight to the ANL curves is because that
5 is just a probability of detection function, whereas
6 our, let me call it "POD" accounts not only for
7 probability of detecting and but also for the
8 potential for new indications to develop during the
9 course of a cycle.

10 And so this POPCD accounts for two
11 factors, whereas the ANL probability detection
12 curves are true probability of detection curves.

13 DR. MUSCARA: Can I make a few comments
14 which maybe clarify some of this?

15 You know, the question about back when
16 we were referring the DPO issues and Professor
17 Ballinger was a consultant to the Committee, the
18 observation that was made is that crack growth rates
19 are not linear with time while in fact the voltage
20 growth rates seem to be. So there was a disconnect
21 and the comments from ACRS were this is curious.
22 Why is voltage growth rate linear while crack growth
23 rate is not linear.

24 In this issue, when we keep talking
25 about crack growth rate or flaw growth rate, and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 voltage does not measure crack size, therefore it
2 cannot measure crack growth.

3 CO-CHAIRMAN WALLIS: It doesn't. Right.

4 DR. MUSCARA: So the entire problem is
5 the voltage growth rate is linear. Why is it
6 linear? Because it doesn't relate to crack size.
7 So crack growth rate is nonlinear and it should be
8 nonlinear --

9 CO-CHAIRMAN WALLIS: The voltage growth
10 rate is linear; you have a whole slue of voltages
11 and the curves it goes up with time.

12 DR. MUSCARA: Right. And the voltage
13 versus voltage rate -- I'm sorry. Voltage rate
14 seems to be linear with time. But crack growth rate
15 is not. But I don't see a disconnect there. I
16 mean, that's fine because voltage doesn't relate to
17 crack size.

18 MR. KARWOSKI: And so we're looking at -
19 -

20 MEMBER SIEBER: Voltage is an indication
21 of the volume of material that you have. How the
22 cracks are put together and how tight they are is
23 another function, which is accounted for in the
24 correlation between leakage and voltage and the
25 probability of failure.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. MUSCARA: You've seen the data where
2 you know a half of volt could have been a through
3 wall crack as well as six volt could have been a
4 through wall crack. And in addition, we've had
5 flaws that are two volt and don't leak at all under
6 steamline break pressure.

7 CO-CHAIRMAN WALLIS: But what does POD
8 have to do with it? My question is, and given the
9 POD that you have, how does the things that you
10 measure get bigger with time? Isn't that the
11 question, whether it's voltage or whatever it is?
12 Voltage is going up with time, right?

13 DR. MUSCARA: Well, if you're tracking
14 crack growth, it should go up with time. But if
15 you're tracking voltage, there's no reason why it
16 should be going up with time because it's effected
17 by many, many different parameters.

18 CO-CHAIRMAN WALLIS: Well then how do
19 you know the crack is growing.

20 DR. MUSCARA: The crack can be growing,
21 but the voltage is still there.

22 CO-CHAIRMAN WALLIS: How do you know the
23 crack is growing then?

24 MEMBER SIEBER: Because it does go up
25 with time.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. MUSCARA: That's right.

2 MEMBER SIEBER: And the question is at a
3 given point in time when you recognize it, should
4 you have detected it before? And if you didn't, you
5 can't measure the crack growth rate. And if you
6 can't do that, you can't tell what's going the
7 condition is going to be like at the end of the
8 next cycle.

9 MS. LUND: The cycle. That's right.

10 DR. MUSCARA: But you can measure the
11 voltage growth rate and then relate that back to the
12 probability -- burst and the leak rate which is --

13 CO-CHAIRMAN WALLIS: The probability of
14 growth rate is what for -- I don't understand that
15 measure, either. This is --

16 MR. KARWOSKI: The change in voltage
17 from one cycle to the next.

18 CO-CHAIRMAN WALLIS: Well, you run this
19 thing up there and then you say you got some cracks
20 and you've got some peaks so that's voltage. Is
21 that what you mean? So you have some points on a
22 figure, right?

23 MS. LUND: Right.

24 CO-CHAIRMAN WALLIS: And when you do it
25 later, are these points generally seem to move up?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KARWOSKI: The answer is yes,
2 generally.

3 DR. MUSCARA: Generally.

4 MR. KARWOSKI: In some cases they don't
5 because there's uncertainty in the measurements,
6 uncertainty in the calibrations, uncertainly the
7 probe --

8 CO-CHAIRMAN WALLIS: Okay. But that's
9 not what we're talking about. We need to be getting
10 on to -- we haven't really seen anything about --
11 all this other stuff doesn't seem to address the
12 issue: How does something grow with time, the
13 voltage or whatever it is?

14 MR. KARWOSKI: Well, I think what we're
15 trying to present is how do we monitor -- what have
16 we observed with respect to has there been
17 systematic deviations from expectations.

18 One way of looking at this --

19 CO-CHAIRMAN WALLIS: What's your
20 expectation? It will grow at one percent a year or
21 ten percent, or whatever?

22 MR. KARWOSKI: Each plant has its plant
23 specific growth rate distribution or they use a
24 bounding industry growth rate distribution. But
25 what we do is we look at what -- and this is where

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it gets into why are you looking at burst and
2 leakage.

3 We look at what do they project to find
4 at the end of their next cycle? And then we compare
5 with what they actually found to that. And one way
6 to do it is to put two histograms side-by-side and
7 say well in general they looked about the same, so
8 it's okay.

9 Another way to do that is to actually
10 look at well what's the probability of burst
11 associated with the projection versus what's the
12 probability of burst --

13 CO-CHAIRMAN WALLIS: Yes. Okay. So now
14 you're giving a presentation that you should have
15 given here. Why do we have to ask you to --

16 MEMBER SIEBER: The presentation, as I
17 understand it, was to answer the question we asked.

18 MS. LUND: Yes.

19 MEMBER SIEBER: When we wrote the NUREG-
20 1740.

21 MS. LUND: That's right.

22 MEMBER SIEBER: And we had the benefit
23 of --

24 MS. LUND: Of the whole picture.

25 MEMBER SIEBER: -- a whole week of this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 when we formulated the question.

2 MS. LUND: Right. Right.

3 MR. KARWOSKI: Right. So I guess we owe
4 you an apology because we focused on the very
5 specific technical issue. The elimination of the
6 French data, the reason we didn't discuss the ACRS
7 conclusion was that the overall methodology was
8 acceptable.

9 MEMBER SIEBER: Okay.

10 MR. KARWOSKI: So we focused on the
11 specific technical issue of why is there more
12 scatter, and we basically come --

13 CO-CHAIRMAN WALLIS: No. This is
14 different. Just the flow growth. That's a different
15 subject.

16 MR. KARWOSKI: Different subject, but I
17 think --

18 CO-CHAIRMAN WALLIS: Related to this
19 one?

20 MR. KARWOSKI: All we're saying is we're
21 focusing on a specific technical comment that was
22 made and we're not giving you the whole picture,
23 again because as was pointed out, it was a week long
24 worth of presentations. It's --

25 DR. MUSCARA: Okay. I think the question

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 here was voltage growth versus crack growth. And I
2 think the answer is, you know, we're not tracking
3 crack growth rate, we're tracking voltage growth
4 rate. And that can be linear while crack growth
5 rate is nonlinear.

6 MS. LUND: What would you like to do?

7 CO-CHAIRMAN WALLIS: Lunch.

8 MS. LUND: That sounds good to me.

9 CO-CHAIRMAN FORD: I think, quite
10 honestly, we are -- at this stage I think we should
11 stop for lunch to give our brains a rest so that we
12 can think. And we'll come back at quarter to 2:00
13 and we'll give you another ten minutes to finish
14 off.

15 I think we need to do some thinking.

16 MS. LUND: Yes.

17 CO-CHAIRMAN FORD: Give us some thought
18 time.

19 CO-CHAIRMAN WALLIS: Yes, we're not
20 getting anywhere. I'm not sure we're going to get
21 anywhere.

22 CO-CHAIRMAN FORD: Well, we may not. We
23 may not get anywhere. But let's just have five or
24 ten minutes, start at quarter of 2:00.

25 So we're in recess until quarter of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 2:00.

2 (Whereupon, at 12:40 p.m. the Joint
3 Meeting was adjourned until 1:50 p.m.)

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

A-F-T-E-R-N-O-O-N S-E-S-S-I-O-N

1:50 p.m.

1
2
3 CO-CHAIRMAN FORD: I'd like to come back
4 into session. We are missing a couple of Committee
5 members, but I think we're all right as far as a
6 quorum is concerned.

7 Just before we broke up for lunch I
8 asked Ken and Louise to just give us a very short
9 tutorial, which hopefully will relieve our concerns
10 as to whether there are any safety concerns relating
11 to the questions we had just before lunch on items
12 3.7 and 3.8.

13 So, Ken, if you could just give us a
14 very short tutorial, I'd appreciate it.

15 MR. KARWOSKI: Okay. We'll try to go
16 through this -- I'm going to try to go through this
17 quickly, just to give you a context of the leak rate
18 methodology and where the leak rate correlation fits
19 into the overall methodology. This is just a
20 pictorial of how you go about calculating the
21 leakage at the end of the cycle.

22 CO-CHAIRMAN FORD: Right.

23 MR. KARWOSKI: And that's really of
24 concern for the safety perspective. Is it will a
25 tube burst is one concern, you know the structural

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 integrity concern and then the other concern is will
2 the tubes leak and how much will they leak and is
3 that leakage acceptable.

4 This cartoon basically shows that you
5 use three different distributions in order to
6 determine the amount of leakage under steamline
7 break conditions. This picture here is to represent
8 the end of cycle voltage distribution. It's what you
9 project that you're going to have in service at the
10 end of a cycle. And that's based on growth rate,
11 probability detection. But let's just say that this
12 is what you project that you're going to have at end
13 of cycle.

14 You then say, okay, if I have so many
15 indications with certain voltages, what's the
16 probability of any one of these voltages leaking?
17 So I have a probability of leak correlation. And it
18 looks similar to a probability of detection, you
19 know, it's the same kind of curve --

20 CO-CHAIRMAN WALLIS: That's a very funny
21 curve, the probability of no voltage is zero. I see
22 the probability of no voltage -- oh, I see. This is
23 standard voltage or something? What's the voltage
24 when there's no flaw?

25 MR. KARWOSKI: In this picture it would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be zero. If there's no flaw --

2 CO-CHAIRMAN WALLIS: So the probability
3 of no flaw is zero?

4 MR. KARWOSKI: No, this is not a
5 probability. This is the probability --

6 CO-CHAIRMAN WALLIS: Okay. Now that's
7 what you actually detect. Okay.

8 MR. KARWOSKI: Yes. If you detect a
9 flaw of a certain voltage, what is the probability
10 that it would leak? There's databases, hundred some
11 data points for each of these databases. And you
12 can come to this curve and say and say if I have a
13 ten volt indication, what is the probability it will
14 leak? Let's assume in one sample it says that
15 there's a high probability it'll leak. Then you use
16 a correlation to say how much will it leak. And you
17 go through all the indications and sum the leakage
18 and then you determination the amount of leakage
19 during the steamline break.

20 When we presented the leak rate
21 correlations when we were discussing the differing
22 professional opinion, we threw up several curves
23 that looked like this or presented information.

24 Ignore this. I tried to do some of these
25 viewgraphs as fast as I could. Some of the scales

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are different, but I just want to illustrate point.

2 This is the 3/4-inch database. You see
3 there's scatter here. Okay. This is the leak rate
4 at steamline break conditions as a function of
5 voltage. Okay. What it's saying is that ten volt
6 indication may, on the average, leak somewhere
7 around ten liters per hour or a 100 liters per hour,
8 and there's a range to it.

9 CO-CHAIRMAN WALLIS: There's a range of
10 about of about ten litters -- in the worse. It's
11 pretty big.

12 MR. KARWOSKI: It's pretty big
13 variation.

14 CO-CHAIRMAN WALLIS: It is two orders,
15 yes.

16 MR. KARWOSKI: Right. This is the 3/4-
17 inch correlation. Okay. And I apologize the scales
18 are somewhat different. But that correlation didn't
19 look bad when you compared this. And when you look
20 at the statistics, the statistics say that the 3/4-
21 inch correlation is better --

22 CO-CHAIRMAN WALLIS: But that's almost
23 random numbers put on a piece of paper.

24 MR. KARWOSKI: And that was the concern
25 that the ACRS had.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Look at the 7/8-inch coil. It looks
2 like, let me just characterize it as a shotgun
3 pattern on the page that there may not really be a
4 correlation between the leak rate and the voltage.
5 7/8-inch, 3/4-inch, why the difference? That was
6 the concern that became item 3.7; why the
7 difference.

8 We didn't have an explanation back then.
9 One of the comments was well maybe if you add more
10 data, you will get a better correlation. What we
11 tried to present this morning was we've added data,
12 we've subtracted data where we thought there was a
13 technical justification to subtract it. The
14 correlation has gotten no better. This is, I
15 believe, the current correlation. There may be one
16 more data point. But this is the current
17 correlation. There is still a lot of scatter. We
18 can give you the insights for the reasons for this
19 scatter, but we cannot tell you why there is --

20 CO-CHAIRMAN WALLIS: And where is the
21 correlation among all those things?

22 MR. KARWOSKI: It would be the solid
23 line.

24 CO-CHAIRMAN WALLIS: The solid line is
25 the correlation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KARWOSKI: The rate of regression.
2 Okay.

3 So that will be the correlation that's
4 applied.

5 When the industry does the calculation.
6 Okay. We can't tell you why. There's no simple or
7 complex explanation for why the difference between
8 the two. We can give you insights on the scatter in
9 the database, like all they are is insights of why
10 you may be exhibiting or observing scatter. Okay.

11 From a safety perspective now. Let's
12 put our safety hats on, because that's what we're
13 really concerned about is when we model the leak
14 rate correlation in determining the amount of
15 leakage, are we conservative. And what we tried to
16 present this morning is we believe that we have
17 modeled the uncertainty in this curve and said is
18 there a correlation or isn't there. If there isn't a
19 correlation, what the industry does is they would
20 assume that the leak rate is independent of voltage.
21 That basically if you had one volt indication, it's
22 going to leak the same as a 100 volt indication.

23 CO-CHAIRMAN WALLIS: How big is that
24 leak rate that they then assume?

25 MR. KARWOSKI: They model the error

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 around the distribution, because this is a Monte
2 Carlo approach. They say so for a given one volt
3 indication, sometime it may leak at a tenth of a
4 liter per hour, sometimes it may leak as a 1,000
5 liters per hour in accordance with the scatter in
6 the correlation.

7 So when we go and do the overall
8 calculation of leakage under steamline break
9 conditions, we believe that because of the
10 conservatisms that are inherent in this curve, which
11 I haven't discussed but there's conservatisms just
12 in this curve in terms of the voltage measures, in
13 terms of how we analyze leakage. We take the 95
14 percentile at 95 percent confidence and we say
15 that's the amount of leakage from a given steam
16 generator. We believe that overall methodology is
17 conservative. And although we don't understand or
18 cannot provide a simple or complex explanation for
19 why this correlation is not as good as this one, we
20 believe from a safety perspective that we have an
21 adequate basis to continue to apply.

22 With that said, as we add more data to
23 the database, we continue to monitor the
24 correlations, we continue to assess it. It's an
25 issue that as long as plants are implementing this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 repair criteria, we'll continue to evaluate the data
2 and make sure --

3 CO-CHAIRMAN WALLIS: Well, a skeptic
4 might say from the other -- if the bobbin amplitude
5 has nothing to do with leak rates, so they shouldn't
6 be used for any purposes in predicting leak rate.

7 MR. KARWOSKI: And in fact when the p
8 value exceeds five percent, I think I got that
9 right, when the p value is over five percent that's
10 exactly what the industry assumes. They say that
11 the leak rate is independent of the voltage.

12 CO-CHAIRMAN WALLIS: As long as it's
13 more than two volts or something? Is there a cut
14 off of some sort?

15 MR. KARWOSKI: No. Regardless. If I
16 have a tenth of a volt indication, which is usually
17 at the point of which we'll call a flaw, is that
18 leak rate -- you know, the potential that I assign a
19 ten liter power leak rate to a tenth of a volt
20 indication is the same as a 100 volt indication.
21 Because when that p value is at that, it's basically
22 saying the leak rate is independent of voltage. So
23 that's all in the methodology.

24 So overall from a safety perspective in
25 determining the amount of leakage, we believe we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have an adequate basis to conclude that plants are
2 safe today. We can't provide you the explanation of
3 why --

4 MEMBER BONACA: Well, I mean this is
5 worse than the other one. It's not so much worse or
6 the other one is not so much better. What I mean is
7 if you trend a scale as the other one, the other one
8 goes from .001 to 10,000.

9 MR. KARWOSKI: Right.

10 MEMBER BONACA: And you throw these two
11 points on the left here 0.1, they come pretty close.

12 MR. KARWOSKI: Yes. Statistically,
13 though, when you look at that p value statistics
14 which is the probability of having a non-zero slope,
15 essentially.

16 MEMBER BONACA: Yes.

17 MR. KARWOSKI: Basically you conclude
18 that -- there is a difference.

19 MEMBER BONACA: There is a difference,
20 yes.

21 MR. KARWOSKI: This database reflects
22 the removal of those two French data points. We
23 believe that there is a statistical reason and a
24 physical insights on why there is a difference.

25 MEMBER BONACA: Yes. Could you put back

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 again the other one?

2 MR. KARWOSKI: Yes. Just didn't have
3 time to put them all on the same scale.

4 MEMBER BONACA: So if you take out the
5 range above and the range below --

6 MS. LUND: You need a longer lunch time.

7 MEMBER BONACA: Let's put it back, too.

8 CO-CHAIRMAN WALLIS: There is a trend,
9 though, here. There is simply no trend in the other
10 one.

11 MR. KARWOSKI: And the p value reflects
12 that. Just looking at the data points that were
13 added, this one was added recently, this one was
14 added since the ACRS, and then the two --

15 CO-CHAIRMAN WALLIS: So your variation
16 is of three orders of magnitude? Somewhere in there
17 you have a leak rate?

18 MR. KARWOSKI: Yes. In accordance with
19 whatever the statistics are for the correlation. So
20 you have some probability -- you basically know the
21 regression equation, you know that the error around
22 that --

23 CO-CHAIRMAN WALLIS: -- want a design of
24 this kind of lack of predictability? I wouldn't
25 design a building if I wasn't sure within a factor

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of 1,000 about how much weight the foundation would
2 take or something. What is -- how should I take
3 something like this?

4 MR. KARWOSKI: The way -- the data from
5 the field is reflected in here, and this also
6 includes some model or laboratory grown specimens.
7 This is basically data from the field which
8 indicates how much these flaws can leak as a
9 function of voltage. And there's a wide variability
10 for a given voltage how much a flaw will leak.

11 Even when you correlate it to length,
12 you know, for through wall flaws, you see a wide
13 range of variability. Maybe not as much as this,
14 but there is a variation because leakage isn't just
15 a simple function of through wall length. It's also
16 a function of the tightness of crack and the
17 tortuosity of the crack. In all leak rate
18 correlation there is a lot of scatter. Maybe not as
19 much as this, but there is the scatter.

20 MEMBER BONACA: But the unit is liter
21 per hour, right?

22 MR. KARWOSKI: Yes.

23 MEMBER BONACA: So they're all tight
24 holes?

25 MR. KARWOSKI: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BONACA: It's a trickle.

2 MR. KARWOSKI: Well, in terms of what
3 observed in the field in general, the projections of
4 the end of cycle distribution tend to be in this
5 range down here. Usually plants do not find any
6 indications over six or seven volts. There have
7 been occasions where plants have found indications
8 over ten, but usually that is very rare.

9 MS. LUND: Usually they're taken out of
10 service.

11 CO-CHAIRMAN WALLIS: About the same as
12 the scatter in the regular flow into the maple syrup
13 buckets, liters per hour, depending on some
14 variable, which doesn't matter very much. It
15 scatters like that in some sort of random way.

16 I just don't quite know how you make any
17 design decisions when you've got such tremendous
18 variability?

19 MR. KARWOSKI: In terms of design
20 decisions, I guess that the plants have to -- the
21 plants have to -- how do we make a regulatory
22 decision.

23 CO-CHAIRMAN WALLIS: Design for a 100
24 liters per hour or something, and that's it.

25 MR. KARWOSKI: Well, the regulatory

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 decision is made based on here's how much the leak
2 rate is a function of voltage. And we believe we've
3 modeled all the uncertainty with this correlation.
4 And we take a conservative 95th percentile of 95
5 percent confidence, and we use that in assessing the
6 adequacy for that plant to operate a full cycle
7 between inspections. So the plants aren't taking the
8 mean value. They're taking the 95th percentile, 95
9 percent confidence. They verify that that value is -
10 -

11 CO-CHAIRMAN WALLIS: They're taken the
12 worst? They're taking the high leak rate then?
13 They're taking the upper end of the distribution?

14 MR. KARWOSKI: The best way to explain
15 is when you do the Monte Carlo, let's say you do a
16 1,000 simulations of the entire distribution. They
17 will order those and they will take the 95th
18 percentile, or if it's a 1,000 they'll take the
19 950th value at 95 percent confidence which means
20 it's really like the 900 --

21 CO-CHAIRMAN WALLIS: But all these
22 predictions are based on models. The model is
23 lousy. So you're really playing games with
24 something which is not a well defined game. You're
25 running a game which is not itself well defined. So

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 all this 95/95 is kind of illusion.

2 MR. KARWOSKI: No.

3 CO-CHAIRMAN WALLIS: Yes.

4 MR. KARWOSKI: Because we're modeling
5 the uncertainty. It's just like any correlation of
6 leakage as a function of crack length. There's
7 scatter in that and we have to account for that
8 scatter. We could show you plots where there's
9 order, two orders of magnitude, even for that
10 correlation. We've modeled that scatter. And
11 because we have modeled that scatter, we believe
12 that the end result under steamline break conditions
13 is conservative.

14 And there's other conservativisms in
15 addition to take the 95th percentile. This bottom
16 voltage that's in this curve are pre-pulled
17 voltages. We know when we pull that tube that we, I
18 don't want to say destroy the flaw, but we distort
19 the flaw. In general, it's going to leak more than
20 if we had not pulled the tube out of the steam
21 generator. We're using those pre-pulled voltages
22 which basically means that if we're able to do a
23 steamline break in a plant for any given indication,
24 we would probably observe less leakage than what is
25 recorded on here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The other thing it doesn't take into
2 account is the fact that the crevices between the
3 tube and the tube support plate are packed.

4 There's many conservatisms in this
5 model.

6 CO-CHAIRMAN WALLIS: So it's the leak
7 rate of the Δp of 2,000 or something?

8 MR. KARWOSKI: 2560. Around there. It
9 varies from plant-to-plant, though. There's a lot
10 of conservatisms just in putting this data together.
11 Part of those conservatisms lead to the scatter, the
12 pre-pulled voltage.

13 CO-CHAIRMAN WALLIS: So this is your
14 answer to why we shouldn't worry about the scatter?

15 MR. KARWOSKI: Right. Why we should not
16 worry about the scatter is because we believe that
17 the overall methodology is conservative. The
18 methodology accounts for the fact that if there is a
19 weak correlation, it tells the utilities how to
20 address it. It basically says, you know, if the
21 correlation is weak, you need to assume that the
22 leakage is independent of voltage, which we believe
23 is a very conservative assumption because basically
24 you're saying a tenth of a volt indication can leak
25 just as much as a 30 or 40 or 50 volt indication in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 general, whereas there may be some exceptions. In
2 general that's going to be a very conservative
3 assumption.

4 CO-CHAIRMAN FORD: Okay. And your
5 further argument was that for burst that the --
6 well, you've got -- from a severe accident situation
7 the burst scenario, there's a good deal of margin
8 with the burst pressure?

9 MR. KARWOSKI: Right. Once again, here's
10 just a plot of burst pressure versus bobbin voltage.
11 This is for 7/8-inch tubing. The burst pressure is
12 along the Y axis, the bobbin voltage along the X
13 axis.

14 This top curve is the mean curve.
15 That's the mean for all the data. And I'm sorry I
16 don't have a curve -- I didn't have a curve readily
17 away available with all the data. But that's the
18 mean curve. Here's the lower 95 percent prediction
19 interval. And this is the curve adjusts the lower
20 95 percent prediction interval adjusted for lower
21 bound material properties.

22 And if you look at this it would say
23 that an indication on the order of roughly 9 volts,
24 or 8.8 volts it basically has adequate structure
25 integrity. It can withstand pressures of 1.4 times

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the steamline break pressure, which equates to about
2 3600 pounds per square inch.

3 So an 8 volt indication has adequate
4 integrity at 1.4 times the steamline break pressure.
5 The repair limit where people plug all our PC
6 confirmed indications is above 2 volts. So the
7 repair limit, in and of itself, basically says the
8 only thing I can leave in service is indications
9 that are less than two volts. So then the question
10 is, you know, what is the potential that if I left a
11 two volt indication in service or any of these
12 others, what is the potential that it can get up to
13 the 9 volt range. And, in general, our operating
14 experience indicates that even with the assumptions
15 that we make on growth rates --

16 CO-CHAIRMAN WALLIS: I'm a bit puzzled,
17 because I think we said that that curve we just saw,
18 the leak rate was independent of voltage. But here
19 you've got something which depends on voltage. How
20 can you have something that depends on voltage when
21 leak rate's independent of voltage?

22 MR. KARWOSKI: Because this is an
23 empirical correlation. The burst pressure for both
24 the 3/4-inch and 7/8-inch seems to be well
25 correlated to the voltage --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: Well, you see my
2 problem. And a pretty good correlation is just a
3 straight line through the middle of all that data,
4 flat, no effect with voltage at all. Would that
5 makes these other curves flat down here?

6 MR. KARWOSKI: If the question is does
7 this curve --

8 CO-CHAIRMAN WALLIS: If that straight
9 line had been flat --

10 MR. KARWOSKI: Yes.

11 CO-CHAIRMAN WALLIS: -- instead of going
12 up like that, would it would have been flat in the
13 next curve that you just showed us?

14 MR. KARWOSKI: This is some of the same
15 data. This is some of the same. All of this data --

16 CO-CHAIRMAN WALLIS: But your
17 predictions are based on the models. They're not
18 based on the data. The data gives the model, the
19 model gives the predictions. But you don't get the
20 predictions right from these data. You don't get
21 that curve you just showed us of burst pressure
22 versus voltage from these data.

23 MR. KARWOSKI: Not --

24 CO-CHAIRMAN WALLIS: You get it from a
25 correlation based on the data, which is then used --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KARWOSKI: It's empirical -- this
2 line is based on this data.

3 CO-CHAIRMAN WALLIS: And then you use
4 that plus some statistics about that line --

5 MR. KARWOSKI: No.

6 CO-CHAIRMAN WALLIS: -- to predict this?

7 MR. KARWOSKI: No, no, no, no.

8 CO-CHAIRMAN WALLIS: No?

9 MR. KARWOSKI: This is --

10 MS. LUND: Show him where the first one-

11 -

12 MR. KARWOSKI: The first pressure calls
13 for square inch.

14 MEMBER KRESS: It's a separate
15 correlation.

16 CO-CHAIRMAN WALLIS: Oh, it's a separate
17 thing?

18 MR. KARWOSKI: It's a totally separate -

19 -

20 CO-CHAIRMAN WALLIS: Totally separate.

21 MS. LUND: Totally separate. Yes.

22 MR. KARWOSKI: Totally separate. Now,
23 some of the data points --

24 CO-CHAIRMAN WALLIS: So what went into
25 there had to be something that tied voltage to wall

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 size, or something?

2 MR. KARWOSKI: To the burst pressure.

3 CO-CHAIRMAN WALLIS: Where does that
4 come from? Do you have another plot of burst
5 pressure versus voltage?

6 MR. KARWOSKI: Yes. For both 3/4-inch
7 and 7/8-inch --

8 CO-CHAIRMAN WALLIS: That's what's
9 important then. When you showed us this leak rate
10 thing, how about a plot like that for burst -- with
11 data?

12 MR. KARWOSKI: I could get it. I just
13 didn't have a chance. The data is priority. I had
14 this curve right away available.

15 CO-CHAIRMAN FORD: To defend Ken, I just
16 asked him before lunch to come up these. But just
17 to reassure us, Ken, there are data that support
18 those trend lines?

19 MR. KARWOSKI: Yes.

20 CO-CHAIRMAN WALLIS: So we can forget
21 about the leak rate because the only thing that
22 matters is burst pressure. And you've got a better
23 database for that?

24 MR. KARWOSKI: No. Both are important.
25 We assess what is the probability of burst. We

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 assess what the amount of leakage during steamline
2 break conditions.

3 CO-CHAIRMAN WALLIS: Okay.

4 MR. KARWOSKI: We assess both of them.

5 MS. LUND: Independently.

6 MR. KARWOSKI: Independently.

7 CO-CHAIRMAN WALLIS: So you have another
8 plot like this which is in terms of leak rate? And
9 then you have an acceptability criterion for that?

10 MR. KARWOSKI: This is leak rate.

11 CO-CHAIRMAN WALLIS: No, the prediction.
12 This is data correlation.

13 MR. KARWOSKI: Yes.

14 CO-CHAIRMAN WALLIS: What is the
15 prediction like the one you just showed us for the
16 accident leak rate, and why is that conservative?

17 MR. KARWOSKI: This one?

18 CO-CHAIRMAN WALLIS: No, with data. Not
19 just a cartoon. With the real --

20 MR. KARWOSKI: I'm not sure what you
21 mean by data.

22 CO-CHAIRMAN WALLIS: Well, you showed us
23 burst pressure versus pressure.

24 MR. KARWOSKI: Yes.

25 CO-CHAIRMAN WALLIS: You said, look,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 even if the voltage is so big or 95/95 it's not
2 going to burst, right?

3 If you do something for leak rates, say
4 here's leak rate versus voltage, here's our
5 prediction, here's my 95/95 -- it's never going to
6 leak more than so much, therefore it's acceptable.

7 MR. KARWOSKI: The amount of --

8 CO-CHAIRMAN WALLIS: You can't just draw
9 cartoons that says you have a leak rate. You've got
10 to put some numbers on them.

11 MR. KARWOSKI: Well, the numbers come
12 from the plant specific inspections. So each plant
13 once they do their inspections, they'll have a
14 distribution of voltage.

15 CO-CHAIRMAN WALLIS: Of leak rates?

16 MR. KARWOSKI: What's that?

17 CO-CHAIRMAN WALLIS: Of leak rates.

18 MEMBER SIEBER: Not leak rates.

19 The only time a leak rate applies is
20 after you have the steamline break. And we have not
21 steamline breaks with defective steam generators.
22 So there is no data at all.

23 CO-CHAIRMAN WALLIS: So when they do all
24 this and they calculate the leakage, is it
25 acceptable with this 95/95 error?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KARWOSKI: Yes.

2 CO-CHAIRMAN WALLIS: It is. So if we
3 simply said all leaks have a thousands per minute,
4 that would be okay, which seems to be the upper
5 limit of that data there, which is about the 95/95?

6 MR. KARWOSKI: It would depend on the
7 plant specific inspection results and the plant
8 specific licensing basis. Because the amount of
9 leakage that they can tolerate depends on off-site
10 dose concentrates.

11 MEMBER SIEBER: That's right.

12 MR. KARWOSKI: Okay. GDC 19 Part 100.

13 MEMBER SIEBER: Part 100.

14 MR. KARWOSKI: Okay. Each plant has
15 it's own specific number. Okay. A lot of plants
16 have 1 gallons per minute, but some plants have 10
17 gallons per minute, 15 gallons per minute.

18 CO-CHAIRMAN WALLIS: So how do we know
19 that this uncertainty in the leak rate is
20 acceptable?

21 MR. KARWOSKI: The uncertainty? What
22 I'm saying is that when we do the calculations, when
23 we project how much leakage we have associated with
24 this distribution, the correlation is conservative
25 because of how we do the testing, what voltages

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we're reporting. That part's conservative. In
2 addition, we're not looking at the mean leak rate,
3 we're looking at a 95th percentile.

4 Then we put it into the dose assessment,
5 which I understand has a lot more conservatisms it
6 in it -- I'm not -- but there's conservatisms along
7 every step, which is an industry criticism.

8 CO-CHAIRMAN FORD: If I could suggest
9 that, you know, obviously we've still got a lot more
10 questions on this particular item, but let's table
11 them for the time being and let's move on.

12 Louise, Ken, thank you very much,
13 indeed.

14 MS. LUND: Okay. Thanks.

15 CO-CHAIRMAN FORD: I'd like to move on I
16 think the next topic. Joe, would you like to
17 introduce it, please?

18 Thank you. Thank you for putting in
19 those extra bits of information.

20 And we move another simple subject.

21 DR. MUSCARA: We'll be talking about
22 main steamline --

23 CO-CHAIRMAN WALLIS: We are looking back
24 at 3.1, something like that.

25 CO-CHAIRMAN FORD: Yes, 3.1.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: I've got to get
2 organized. Because I have it organized by number and
3 not by what it represents.

4 DR. MUSCARA: We are addressing the
5 issue of a potential propagation of large elements
6 in the line break. And this presentation is in two
7 parts. The first part some hydraulic work that was
8 done to define the forces on the support plate. And
9 that was input to a structure integrity analysis,
10 and that will be the second presentation.

11 So Bill Krotiuk will provide the first
12 part.

13 CO-CHAIRMAN WALLIS: We heard this the
14 other day in some other context.

15 MR. KROTIUK: I presented it basically
16 at the TRACE.

17 CO-CHAIRMAN WALLIS: Right.

18 MR. KROTIUK: Yes, a couple of people
19 weren't there.

20 MEMBER SIEBER: Everybody important.

21 CO-CHAIRMAN WALLIS: No, it was the
22 Thermal Hydraulic Subcommittee.

23 MR. KROTIUK: I'll just introduce
24 myself. I'm Bill Krotiuk. I'm in Office of
25 Research.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And what I'm going to basically discuss
2 is the generation of the thermal hydraulic forces in
3 the steam generator that occur on the tube support
4 plates, basically, and this input would be then
5 given to the stress analysis to take a look at the
6 effects on the possibility of having some adverse
7 cracking effects, ruptures of the tubes themselves.

8 The work was done basically on the
9 Generic Safety Issue 188, which was in response to
10 the action plan items 3.1a, 3.1b and 3.1c.

11 The outline basically is to use the
12 TRACE code to generate these loads on the steam
13 generator tube support plates and the tubes
14 themselves and to perform sensitivity studies with
15 the codes and model parameters to verify that the
16 code is appropriate for doing this calculation. And
17 also to compare the predictions to conservative
18 calculations.

19 Specifically, in order to verify the
20 TRACE code I did compare it to a number of tests
21 that were related to this behavior, to this expected
22 behavior inside the steam generator. And then
23 performed the calculations themselves for a typical
24 steam generator and compared it with the
25 conservative results.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The verification effort for TRACE --

2 CO-CHAIRMAN WALLIS: I'm a bit puzzled
3 here.

4 MR. KROTIUK: Sure.

5 CO-CHAIRMAN WALLIS: One of the
6 important things happening is transient flow through
7 these support plate, whether waves are reflected or
8 transmitted?

9 MR. KROTIUK: Correct.

10 CO-CHAIRMAN WALLIS: And that's not an
11 easy thing. You've got here essentially momentum
12 balance of the sudden change of area and sudden
13 geometry. And I noticed in your write up that TRACE
14 doesn't include two phase pressure drop correction
15 for irreversible form losses. And this is an area
16 where the kind of models that are in TRACE are not
17 good for sudden changes of area and form losses and
18 things like that. And yet, this is a key part of
19 the phenomena is that at a plate with holes in it,
20 you've got some wave reflected and some goes
21 through.

22 MR. KROTIUK: That's correct, yes.

23 CO-CHAIRMAN WALLIS: So I'm really not
24 sure if you look at the TRACE documentation or RELAP
25 documentation --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KROTIUK: Right.

2 CO-CHAIRMAN WALLIS: -- that that
3 particular situation is modeled particularly
4 accurately.

5 MR. KROTIUK: But the key --

6 CO-CHAIRMAN WALLIS: Is this all modeled
7 on sort of a nice type that changes area rather
8 slowly and --

9 MR. KROTIUK: Yes, but the key force
10 across the tube support plate is the differential
11 pressure --

12 CO-CHAIRMAN WALLIS: Right.

13 MR. KROTIUK: -- from the top to the
14 bottom.

15 CO-CHAIRMAN WALLIS: Right.

16 MR. KROTIUK: You see later on, I
17 included the equation that I used to calculate this
18 pressure drop or force on the tube support plate.
19 And it is a function of the lost coefficient and the
20 flow through the holes themselves.

21 The lost coefficient itself was based on
22 some test data, and I verified that by using some
23 information of Idelchik.

24 CO-CHAIRMAN WALLIS: This is just a
25 single phase lost coefficient?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KROTIUK: It's a single case lost
2 coefficient.

3 CO-CHAIRMAN WALLIS: As long as it's
4 single phase, maybe you're okay.

5 MR. KROTIUK: Yes.

6 CO-CHAIRMAN WALLIS: You do have an
7 empirical lost coefficient.

8 MR. KROTIUK: Yes.

9 CO-CHAIRMAN WALLIS: And is that okay
10 for unsteady flow through these holes?

11 MR. KROTIUK: In order to try get the
12 effects of the unsteady flow, the exact equation
13 that I used, which I present in a couple of
14 viewgraphs, do include some acceleration effects.

15 CO-CHAIRMAN WALLIS: So you have looked
16 at all that?

17 MR. KROTIUK: Yes.

18 CO-CHAIRMAN WALLIS: Okay.

19 MR. KROTIUK: If I'll just continue and
20 I'll show that equation in a moment.

21 CO-CHAIRMAN WALLIS: Sure.

22 MEMBER RANSOM: Well, I think in their
23 defense, that kind of model is used even for water
24 hammer analysis in single phase fluids.

25 CO-CHAIRMAN WALLIS: Oh, yes. There's an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 area change.

2 MEMBER RANSOM: But nothing is known
3 about what the actual process used.

4 CO-CHAIRMAN WALLIS: But it's a
5 multidimensional flow through --

6 MEMBER RANSOM: Quasi-steady.

7 CO-CHAIRMAN WALLIS: It's not a one
8 dimensional thing and so on.

9 MR. KROTIUK: Okay.

10 CO-CHAIRMAN WALLIS: I think what saves
11 you is the huge area change between the pipe and the
12 steam generator. That really is what extenuates the
13 wave.

14 DR. MUSCARA: There is a lot of
15 entunuation to that, yes.

16 CO-CHAIRMAN WALLIS: Almost all of, in
17 fact. Yes.

18 MR. KROTIUK: The verification effort
19 that I started -- the verification effort included
20 the effects of acoustic wave transmission. And, of
21 course, it also included the transient flow
22 phenomena and some pool swell effects.

23 CO-CHAIRMAN WALLIS: Now, I'm sorry.
24 Just to get the picture.

25 MR. KROTIUK: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: You compared it
2 with some of experiments the LOFT and Edwards and so
3 on, which are very simple geometry of pipes with
4 vessels. This is a thing with tubes and support
5 plates in it.

6 MR. KROTIUK: Right.

7 CO-CHAIRMAN WALLIS: And I don't know if
8 we have a database for how transient effects go
9 through that kind of a geometry.

10 MR. KROTIUK: I have four sets of data.
11 Let me just go to the --

12 CO-CHAIRMAN WALLIS: Okay. So you do
13 have data that looks something like the real
14 geometry?

15 MR. KROTIUK: Yes. I have data for
16 something that looks like the real geometry.

17 CO-CHAIRMAN WALLIS: Okay. Thank you.

18 MR. KROTIUK: And it happens to be a
19 steam generator.

20 CO-CHAIRMAN WALLIS: That's good.
21 That's nice. Real data and a real steam generator?

22 MR. KROTIUK: Yes.

23 CO-CHAIRMAN WALLIS: Good. Wonderful.

24 MR. KROTIUK: Well, not a -- well, .8
25 size.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: Well, that's pretty
2 close.

3 MR. KROTIUK: Yes.

4 The first two experiments that I looked
5 at were the typical Edwards blowdown experiment.
6 And I didn't include the specific comparisons here,
7 but I'll just discuss the results versus the
8 predictions.

9 It's basically a subcooled water
10 depressurization. And basically I was able to
11 predict the results for pressure, temperature and
12 void fracture because those were measurements. And
13 basically it was a pipe with a rupture. And one
14 thing I did find is that the node size had to be
15 about equal to the pipe diameter.

16 CO-CHAIRMAN WALLIS: Okay. If you look
17 at the Edwards data, what you predict is very good
18 after the initial transient. It starts at 7
19 megapascals and goes down very rapidly. There must
20 be acoustic waves in the water alone before you get
21 any two phase effects.

22 MR. KROTIUK: Yes.

23 CO-CHAIRMAN WALLIS: And then you get a
24 two phased transient, which you modeled very well.

25 MR. KROTIUK: That's right. Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: But the initial
2 transient where you've got a water hammer type wave
3 in the water alone is not modeled at all well. I
4 don't think you ever try to. And yet that is where
5 you get some of the big transient --

6 MR. KROTIUK: Two comments I have on
7 that. One is that the LOFT test addresses that. But
8 I remember the last time I presented this at the
9 TRACE, when we TRACE code, I did look at that
10 specifically. And basically what happened is, is
11 when I plotted up the data and you had seen the
12 results, I didn't have a close enough, a small
13 enough pot frequency to show that information.

14 I did do a comparison of that and it was
15 adequate. It didn't do a great job.

16 CO-CHAIRMAN WALLIS: So it leaps down to
17 saturation almost at once?

18 MR. KROTIUK: Yes.

19 CO-CHAIRMAN WALLIS: But not quite
20 almost at once?

21 MR. KROTIUK: Not quite, yes.

22 CO-CHAIRMAN WALLIS: And the question
23 is, is there some transient in that first
24 millisecond that you have to worry about?

25 MR. KROTIUK: It is that the Edwards

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 problem was so small that I think that that's not a
2 really good problem to look at --

3 CO-CHAIRMAN WALLIS: I'm not even sure
4 that they had the instrumentation to measure that?

5 MR. KROTIUK: Yes. Right.

6 I think really to look at the acoustic
7 effects you'd have to look at the next one, which is
8 the LOFT semiscale test. That one really produces
9 the --

10 CO-CHAIRMAN WALLIS: And that's all
11 subcooled?

12 MR. KROTIUK: That's all subcooled.

13 CO-CHAIRMAN WALLIS: Never boils at all?

14 MEMBER RANSOM: There was pretty good
15 data from the Edwards pipe blowdown. I think wasn't
16 it 8 meters long?

17 MR. KROTIUK: It is --

18 MEMBER RANSOM: And it's about 5
19 milliseconds for the wave to reach --

20 MR. KROTIUK: It's 4 meters long.

21 MEMBER RANSOM: Four meters long?

22 MR. KROTIUK: Right. And it's about 2.8
23 inches in diameter.

24 MEMBER RANSOM: Right. But the pressure
25 data was pretty good at the backend of the pipe.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 You know, there was a period where you could see the
2 heat pressurization wave arrive.

3 MR. KROTIUK: Yes.

4 MEMBER RANSOM: And I would think the
5 code would do a reasonable job of predicting that
6 time.

7 MR. KROTIUK: In fact, I'll throw this
8 up.

9 CO-CHAIRMAN WALLIS: Yes, you should
10 show some figures.

11 MR. KROTIUK: I didn't include it, but
12 I'll include it.

13 This was at 1.5 meters of the close
14 down. And what you see here is the test data --

15 CO-CHAIRMAN WALLIS: Well, it leaps down
16 to saturation essentially and then falls off from
17 there.

18 MEMBER RANSOM: And I think the time
19 you're talking about is very near the first 5
20 milliseconds.

21 CO-CHAIRMAN WALLIS: Right. That's
22 right.

23 MR. KROTIUK: The time -- the acoustics
24 stuff is really right here.

25 MEMBER RANSOM: That's right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: But if you let down
2 and then up again, there were some oscillations in
3 there that could presumably --

4 MR. KROTIUK: Actually, when I plotted
5 it up there was actually just one oscillation --

6 CO-CHAIRMAN WALLIS: There is something
7 in there, right.

8 MR. KROTIUK: -- that it showed, no more
9 than that.

10 CO-CHAIRMAN WALLIS: Since it's pressure
11 differences we're concerned about, those pressure
12 fluctuations could load something.

13 MR. KROTIUK: Yes. But, again, I think
14 for the acoustic effects I'd prefer to look at the
15 raw test rather than these.

16 CO-CHAIRMAN WALLIS: Okay.

17 MEMBER RANSOM: Well, if you want to
18 look at the acoustic effect in water, I mean it did
19 correspond to the 1,000 meters a second and
20 transmission through water at the time that the
21 pressure -- or depressurization arrived at the
22 backend of the pipe. So you have to look in detail
23 at that early time. And I think the codes do a
24 reasonable job of that, provided you restrict the
25 time step.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KROTIUK: Right. That's one of the
2 reasons when I was doing all these studies I was
3 looking at numerical schemes and time subsizing
4 also. And that was an important finding. In other
5 words, what kind of numerical scheme and accuracy do
6 you need for that --

7 CO-CHAIRMAN WALLIS: Well, the pressure
8 is predicted very well. The void fraction is not
9 particularly good, but presumably that's because
10 it's a saturation and it doesn't really matter too
11 much.

12 MR. KROTIUK: Well, the void fraction in
13 my mind really is not too bad, because it's very
14 hard to measure void fraction anyway from
15 experimental data. It's following the basic trends.

16 Since we're talking about, to show you
17 the data, I will throw up the LOFT data. And let me
18 maybe go back one on this one.

19 The LOFT data that I got these
20 predictions on is basically a tank. The rupture was
21 up in this area here. And there were pressure
22 measurements here and pressure measurements here.

23 I compared the trace predictions to test
24 data and also compared it to a method of
25 characteristic calculation, which is really more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 appropriate or the best method of doing the acoustic
2 phenomena, water --type of things.

3 And, as you can see, what I did is I
4 looked at different numerical schemes and tried to
5 look at that effects.

6 CO-CHAIRMAN WALLIS: Now, this
7 experiment, it took me some time to figure out what
8 was happening. But there's an orifice, one inch
9 diameter --

10 MR. KROTIUK: Right.

11 CO-CHAIRMAN WALLIS: And the pipe size
12 is 416th-inch. So almost all of the pressure drop
13 is taken right across that orifice, isn't it?
14 You're not imposing a sudden depressurization of the
15 pipe, because it's the orifice?

16 MR. KROTIUK: But there is a
17 depressurization.

18 CO-CHAIRMAN WALLIS: There is some.

19 MR. KROTIUK: There is some
20 depressurization. But the important thing is that
21 what you're doing is that when they give you
22 depressurization wave traveling back here, it's
23 going to travel back in this direction, and it's
24 going to reach this here and you're going to get
25 reflections. Transmissions and reflections, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that's the important thing that you want to be able
2 to predict.

3 CO-CHAIRMAN WALLIS: But it's a small
4 fraction of the total pressure on this wave.
5 Because if you had opened the whole pipe instead of
6 the orifice, you've had a much bigger wave?

7 MR. KROTIUK: Yes. Yes, you're right.
8 But, you know, I think this problem was --

9 CO-CHAIRMAN WALLIS: I'm sorry. I said
10 that because a steamline break you actually break
11 the whole pipe. It's not as if you have a little
12 hole in it which is that's what you've got here.

13 MR. KROTIUK: Right.

14 CO-CHAIRMAN WALLIS: And it might be
15 that something is different when you have these very
16 big wave rather than just this little acoustic type
17 of wave that you have here. That's why I brought it
18 up.

19 If you wanted to simulate breaking the
20 pipe, you'd break the pipe and not just have a
21 little hole in it at the end.

22 MR. KROTIUK: Well, two things. One is
23 that I wanted to by comparisons with this experiment
24 be able to show that the code was able to follow the
25 acoustic waves, and then when you're talking about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the large breaks I think that they would be more
2 appropriate to compare those with the next two
3 experiments, which are really full pipe breaks.

4 MEMBER RANSOM: Well, I think too you're
5 using the code primarily to model what goes on
6 inside the steam generator and there you've got a
7 lot of equipment like separators that are not
8 modeled very well anyway, you know. And so there
9 are simply losses within the steam generator, rather
10 torturous paths that the acoustic wave actually goes
11 through. So this has got to be regarded as, more or
12 less, an average type of model of that process.

13 MR. KROTIUK: Yes. I think the main
14 thing that the codes will do, and this is true
15 either of the method characteristics or the TRACE or
16 RELAP5 type codes is that it's going to -- it'll be
17 effected by the area changes, you know.

18 MEMBER RANSOM: True.

19 MR. KROTIUK: That's more than the lost
20 coefficient here. It's the area changes that --

21 MEMBER RANSOM: What I was getting at is
22 there are also torturous passages that you simply
23 can't model and so you just have to lump that in as
24 a loss and just transmit it through that.

25 MR. KROTIUK: That's correct. Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: Which one is P1?

2 MR. KROTIUK: Okay. P1 is --

3 CO-CHAIRMAN WALLIS: The one doesn't
4 change very much?

5 MR. KROTIUK: I mean, I just choose that
6 point. There was data, you know -- I do have P1 and
7 I do have P2.

8 CO-CHAIRMAN WALLIS: Why does your
9 presentation not have the data in it? I mean,
10 you're very good at these transparency. I wish your
11 handout had something like that, because without it,
12 it's all words.

13 MR. KROTIUK: Yes. Okay. I was trying
14 to limit the length of the duration.

15 CO-CHAIRMAN WALLIS: The Committee is
16 more -- more satisfied to see figure like this than
17 it is to read a lot of words.

18 MR. KROTIUK: Okay. I could give you
19 these. It's not a problem.

20 CO-CHAIRMAN FORD: We'd really
21 appreciate that.

22 MR. KROTIUK: Yes. Okay. You can have
23 these right after I finish with them.

24 MEMBER RANSOM: Well, I think all the
25 plots are in your report that was --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KROTIUK: The plots are in the
2 report. In fact, there is more plots than -- I
3 should say that, yes, all the plots are in the
4 report.

5 CO-CHAIRMAN WALLIS: Now which is the
6 one which is like a steam generator? Is that the
7 Westinghouse?

8 MR. KROTIUK: The Westinghouse, right.

9 CO-CHAIRMAN WALLIS: Is that in your
10 report?

11 MR. KROTIUK: Oh, that one is not in the
12 report, because that was a separate report that was
13 given to me because the GE vessel blowdown test and
14 the Westinghouse steam generator testing was done by
15 ISL. So that was not in that report. Simply it
16 wasn't completed when I did that. It is completed
17 now.

18 CO-CHAIRMAN WALLIS: Well, this is much
19 more convincing. You have some internal structure
20 and you can show that you do it right. Is this
21 proprietary stuff?

22 MR. KROTIUK: No, it's not proprietary.
23 There is a NUREG that will be completed that will
24 include that data.

25 CO-CHAIRMAN WALLIS: I think that would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be very helpful.

2 MR. KROTIUK: It's just not released
3 yet.

4 CO-CHAIRMAN WALLIS: One of my comments
5 was, you know, that Edwards and LOFT, these are
6 relatively simple experiments and so you'd expect to
7 do it right. But when you've got something with
8 internal structure like a steam generator, there are
9 real questions about whether or not you get a 84
10 percent of this wave transmitted and things like
11 that.

12 MR. KROTIUK: Yes. But I could either
13 give you a copies of those reports, which is not a
14 problem. I don't know what your time frame is.

15 CO-CHAIRMAN WALLIS: Well, if we're not
16 going to reach a conclusion yet, then you can give
17 us more evidence.

18 MR. KROTIUK: Right. Okay.

19 CO-CHAIRMAN WALLIS: Do you have
20 something to show us of data from these better
21 tests?

22 MR. KROTIUK: Okay. I could show you,
23 again, viewgraphs that I have here that weren't in
24 the original.

25 CO-CHAIRMAN WALLIS: These are tests

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with actual internal structures?

2 MR. KROTIUK: They are two vessel
3 blowdown tests. And these were just vessels. There
4 was no internal structures on this one.

5 CO-CHAIRMAN WALLIS: That's different.
6 Did Westinghouse have internal structures?

7 MR. KROTIUK: Yes.

8 CO-CHAIRMAN WALLIS: That's the one I'm
9 interested in.

10 MR. KROTIUK: Okay.

11 CO-CHAIRMAN WALLIS: We have time, Mr.
12 Chairman, to look at some real data from something
13 like a steam generator?

14 CO-CHAIRMAN FORD: Absolutely.

15 MR. KROTIUK: Okay.

16 CO-CHAIRMAN WALLIS: So this is
17 something that's like a steam generator?

18 MR. KROTIUK: Yes.

19 CO-CHAIRMAN WALLIS: And what happens
20 there, it's going to be much more like what happens
21 in a main steamline break than any idealized simple
22 task.

23 MR. KROTIUK: This is a scaled
24 Westinghouse model of a steam generator.

25 CO-CHAIRMAN WALLIS: Yes. And they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 break a pipe somewhere? Okay. So the physical
2 model, we just assume it's something like a steam
3 generator and they break a pipe?

4 MR. KROTIUK: Right.

5 CO-CHAIRMAN WALLIS: That's good.

6 MR. KROTIUK: And we looked at two
7 tests, because they were the best data that we had
8 and what we thought was typical of what we were
9 looking at.

10 MEMBER RANSOM: Is this a model of a
11 steam generator or full scale?

12 MEMBER SIEBER: It's a model.

13 MR. KROTIUK: It's a model. Yes.

14 MEMBER RANSOM: Subscale, I guess?

15 MR. KROTIUK: Yes. And remember the
16 size --

17 CO-CHAIRMAN WALLIS: But it has
18 internals which --

19 MR. KROTIUK: Excuse me?

20 CO-CHAIRMAN WALLIS: It has internals
21 which have the same sort of area of holes and
22 everything.

23 MR. KROTIUK: Yes. I'll show you this.

24 CO-CHAIRMAN WALLIS: Okay.

25 MR. KROTIUK: This was --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: It has fewer tubes,
2 but this sort --

3 MR. KROTIUK: It has fewer tubes, but it
4 does have tube support plates.

5 CO-CHAIRMAN WALLIS: And the holes, the
6 tube supports have holes in them which are typical
7 of -- most of the space is holes, isn't it? It's
8 either holes for the tubes or holes for the fluid.

9 MR. KROTIUK: Well, there's holes for
10 the tubes and holes --

11 CO-CHAIRMAN WALLIS: There's not much
12 left for the metal. It's a pretty perforated piece
13 of --

14 MR. KROTIUK: It's perforated. And so
15 in these tests there were pressure measurements
16 basically involved.

17 CO-CHAIRMAN WALLIS: Good. Differential
18 pressures across the plates and everything?

19 MR. KROTIUK: Right.

20 CO-CHAIRMAN WALLIS: That's a much
21 better test.

22 MR. KROTIUK: Some of the pressure
23 measurements points were away from the plates, so
24 there is some --

25 CO-CHAIRMAN WALLIS: Yes. And what's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 being shown on the left there?

2 MR. KROTIUK: Oh, these are some
3 comparisons here between code predications and data
4 is in green.

5 CO-CHAIRMAN WALLIS: What's the
6 differential pressure across?

7 MR. KROTIUK: This one happens to be two
8 to three, so it shows a point --

9 CO-CHAIRMAN WALLIS: So it's the
10 pressure drop across the plate?

11 MR. KROTIUK: Across this plate here.

12 CO-CHAIRMAN WALLIS: And it's not
13 predicated all that well in time, but the amplitudes
14 and things -- in fact, it goes down so the load is
15 decreasing as the wave goes by?

16 MR. KROTIUK: This one happens to the
17 bottom one, yes.

18 And then this is between 6 and 7, which
19 is across the tubes --

20 CO-CHAIRMAN WALLIS: And what happens at
21 times 60, there's sort of a vertical green line
22 that--

23 MR. KROTIUK: They started their
24 transient right there. So that's when the break the
25 current.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: So there isn't an
2 initial blow --

3 MR. KROTIUK: Surge.

4 CO-CHAIRMAN WALLIS: There's initial
5 surge or something there?

6 MR. KROTIUK: Over here?

7 CO-CHAIRMAN WALLIS: Very short quick
8 load at the beginning.

9 MR. KROTIUK: Right.

10 CO-CHAIRMAN WALLIS: Isn't that what we
11 were talking about earlier? Something that happens
12 very early on.

13 MR. KROTIUK: Yes. That's the important
14 loading --

15 CO-CHAIRMAN WALLIS: Right, that sudden
16 one. Right. You should blow that up, because the
17 rest of it isn't so important.

18 Is there some detail of that?

19 MR. KROTIUK: I don't have the details -
20 -

21 CO-CHAIRMAN WALLIS: We're interested in
22 millisecond or something, aren't we --

23 MEMBER SIEBER: That's right.

24 MR. KROTIUK: Right. You're right.

25 CO-CHAIRMAN WALLIS: The question is did

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you predict that right. There's really data in that
2 blip or the data not -- was the system not designed
3 to take data over a short period of time?

4 MR. KROTIUK: It's really not designed
5 to take data.

6 CO-CHAIRMAN WALLIS: So it really isn't
7 testing these acoustic type waves? It doesn't add
8 transducers with any response time?

9 MR. KROTIUK: No.

10 CO-CHAIRMAN WALLIS: So is it a good
11 test of that initial transient?

12 MR. KROTIUK: This is the test that we
13 had.

14 CO-CHAIRMAN WALLIS: But is it a good
15 test of what you're interested in, that initial
16 transient?

17 MR. KROTIUK: It'll give you some
18 feeling.

19 CO-CHAIRMAN WALLIS: Ah. Is it a good
20 feeling?

21 No, seriously, the load -- fracture
22 pressure, it looks as if it goes to -- I don't know
23 -- 1.7 or something.

24 MR. KROTIUK: Yes.

25 CO-CHAIRMAN WALLIS: I cannot really

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 tell because that green lines goes up. Isn't that
2 the blip you're interested it? That blimp that goes
3 up to 1.7 at 60 seconds?

4 MR. KROTIUK: Yes, that's the blip
5 you're interested in.

6 CO-CHAIRMAN WALLIS: But that's not
7 something they were capable of recording with their
8 instrumentation?

9 MR. KROTIUK: The way I understood their
10 instrumentation was not really fine enough to really
11 give those readings. But it gives us a feeling of
12 what it is.

13 CO-CHAIRMAN WALLIS: I don't know if it
14 does give me feeling, because that initial transient
15 may be governed by different phenomena than the
16 later one. It's a very short time scale. And then
17 there's that kind of relaxation at the system
18 thereafter. I think it's a very nice test, but it
19 would be very good if they had transducers that had
20 a quick response so we could see.

21 And if you have a big loading for a
22 short time, it's like water hammer. You're not
23 really too concerned about it, because it's the
24 impulse you're interested in.

25 MR. KROTIUK: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: Not the integrated
2 load or the time.

3 MR. KROTIUK: You're right.

4 CO-CHAIRMAN WALLIS: So a measure of
5 peak pressure isn't necessarily the right measure.

6 MEMBER SIEBER: But these pressure
7 pulses either by analyses or tests are very small
8 compared to the overall stiffness of the structure,
9 right? They result in minuscule displacements.

10 MR. KROTIUK: Basically that's the
11 effect that you look at.

12 MEMBER SIEBER: So if you -- factor of
13 100 percent --

14 MR. KROTIUK: This is the duration right
15 here. It's dynamic load factor type thing.

16 MEMBER SIEBER: Yes.

17 MEMBER RANSOM: Well, another factor
18 what were the initial conditions? Was this boiling
19 so it was twophase to begin with or was it actually
20 maybe even subcooled water to start out with? That
21 would make a lot of difference to the --

22 MR. KROTIUK: I don't remember that
23 specifically.

24 MEMBER RANSOM: Yes. But that would
25 make -- the real case, of course, boiling is taking

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 place and so it's a spongy sort of mixture of a two
2 phase system at a tenuated --

3 MEMBER SIEBER: Yes, it's even milder.

4 MEMBER RANSOM: Pardon?

5 MEMBER SIEBER: The transient's even
6 milder if you have boiling.

7 MEMBER RANSOM: Sure.

8 CO-CHAIRMAN FORD: Is there physically a
9 reason why that is not pulse if it's real, is
10 confined to the top U bend region? That it's likely
11 to be less cracks?

12 MR. KROTIUK: Well, what's --

13 CO-CHAIRMAN FORD: I don't know. Answer
14 my question.

15 MR. KROTIUK: What you'll see is that
16 because the break is occurring -- because the break
17 is occurring up here --

18 CO-CHAIRMAN FORD: Yes.

19 MR. KROTIUK: -- and the tubes are here
20 --

21 CO-CHAIRMAN FORD: Right.

22 MR. KROTIUK: -- the highest forces are
23 in the top and then they decrease as you go down.

24 CO-CHAIRMAN FORD: Okay. So that's --

25 MR. KROTIUK: That's just for examples

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of.

2 CO-CHAIRMAN FORD: --in the first two or
3 three tube support plates in the hot leg, we're
4 likely to have cracks. The Δp is smaller than
5 anywhere else.

6 MR. KROTIUK: Yes, the ones on the
7 bottom right here. In fact, when I was doing the
8 calculations I actually saw that possibly on the
9 lowest two support plate you could actually get a
10 downward force instead of an upward force because --

11 CO-CHAIRMAN FORD: Okay.

12 MR. KROTIUK: -- the travel of the
13 acoustic waves down the feedwater side, you know.
14 So you do get some balancing that way.

15 CO-CHAIRMAN WALLIS: So we have here a
16 sort of a verification of the later part of the
17 transient where you get two phase effects and full
18 swell and stuff.

19 MR. KROTIUK: Yes.

20 CO-CHAIRMAN WALLIS: But we don't really
21 have a good verification of the initial spike
22 because it wasn't recorded?

23 MR. KROTIUK: For this test, yes. And
24 that's one of the reason why I was looking at the
25 LOFT, because I'm trying to follow the acoustic

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 waves in that, in that test and compare it to --

2 CO-CHAIRMAN WALLIS: Well, actually,
3 even if the spike had been much bigger in altitude,
4 it doesn't last very long.

5 MR. KROTIUK: Yes.

6 MEMBER RANSOM: Well, the inertia --

7 CO-CHAIRMAN WALLIS: When you have a
8 pressure of 100 psi for a millisecond, it's not
9 going to move very much.

10 MEMBER RANSOM: What was that first
11 mark? Were those pressure ratios or were they
12 actual pressures?

13 MR. KROTIUK: This one?

14 MEMBER RANSOM: That first -- yes.

15 MEMBER SIEBER: Actual PSID.

16 MR. KROTIUK: This is PSIDs.

17 DR. KUPPERMAN: Differentials.

18 MR. KROTIUK: Differentials.

19 MEMBER RANSOM: Oh, differential
20 pressure?

21 MR. KROTIUK: Yes.

22 MEMBER RANSOM: Δp .

23 MEMBER SIEBER: Across each --

24 CO-CHAIRMAN WALLIS: So, in fact, it's
25 not a very good prediction of the green curve with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the data and the top curve, that sort of valid phase
2 and it's going up when the other one's going down
3 and so on. But it shows that you don't get large
4 amplitudes.

5 MEMBER SIEBER: Right. However, one of
6 the bigger questions is if you have tubes that are
7 lofting to the tube support plate, you start getting
8 these spikes, what does it do to the tube?

9 MR. KROTIUK: That's the next part.

10 DR. MUSCARA: That's the next part.
11 You'll get there.

12 MEMBER SIEBER: I can hardly wait.

13 MR. KROTIUK: Okay. For the specific
14 study, what I did is that I modeled the Westinghouse
15 model 51 steam generator because I had a report that
16 was done by Westinghouse using the -- and RELAP5
17 codes for doing similar type of calculations, and I
18 wanted to make comparisons with that.

19 CO-CHAIRMAN WALLIS: So you had an input
20 deck?

21 MR. KROTIUK: No, not input deck.

22 CO-CHAIRMAN WALLIS: You didn't?

23 MR. KROTIUK: I did not have an input
24 deck. I just had description of the model.

25 And I looked --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Is that the one called
2 sensitive study? You have one that we don't have?

3 MR. KROTIUK: You should have.

4 MEMBER SIEBER: I have your report.

5 MR. KROTIUK: It's in my report.

6 MEMBER SIEBER: Okay. I have the
7 Westinghouse results in my report, but it references
8 the Westinghouse report.

9 Looked at hot standby and 100 percent
10 power conditions and 100 power conditions and looked
11 at two steamline break and one feedwater break.

12 Okay. The model that I developed looked
13 like this. And as I said, I did develop the model.
14 And it included basically different volumes, and it
15 included two support plates, it included areas at
16 the top of the steam generator, and also the
17 feedwater area coming -- around and through the
18 center. And it did include a primary system for heat
19 transfer going through the tubes to the central area
20 in the steam generator, from the primary to the
21 secondary side.

22 CO-CHAIRMAN WALLIS: So, tell me more
23 about what's in the steam generator. There's a
24 boiling mixture --

25 MR. KROTIUK: There's a boiling mixture.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: And then there's a
2 steam region at the top. So the wave comes in
3 through steam?

4 MR. KROTIUK: The wave comes in through
5 steam.

6 CO-CHAIRMAN WALLIS: So it's all single
7 phase not to be reasonably easy to predict?

8 MR. KROTIUK: In that part, yes.

9 CO-CHAIRMAN WALLIS: At the top? Right.

10 MEMBER RANSOM: Well, there are two
11 paths. The downcomer path.

12 MR. KROTIUK: Yes.

13 MEMBER RANSOM: Which presumably would -
14 - the wave reached the bottom first through that one
15 since that one is full of subcooled water.

16 MR. KROTIUK: Down this way, right.

17 MEMBER RANSOM: Right. Because it's
18 open to the steamline also.

19 MR. KROTIUK: This way because there is
20 a depressurization tube down the center.

21 MEMBER RANSOM: Right.

22 MR. KROTIUK: And what you do is that it
23 has to be a balance between the two depressurization
24 waves.

25 MEMBER RANSOM: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: It actually goes
2 first fastest through the metal.

3 MEMBER RANSOM: Well, it goes through
4 the metal, too, yes.

5 MEMBER SIEBER: Well, you're going to
6 get a circulation in there during blowdown.

7 MR. KROTIUK: I think in the long term
8 we would get a circulation. But I think in the time
9 frame that I looked at the forces were occurring in
10 such a short time frame that --

11 MEMBER SIEBER: It's subcooled on the
12 outside.

13 MR. KROTIUK: This was the equation that
14 I used to calculate the force of the tube support
15 plate itself. And it was Δp . And it included the
16 frictional loss which was a function of the
17 irreversible loss coefficient plus I included
18 gravity heads and acceleration terms.

19 It turned out that the gravity head,
20 acceleration terms were really minor compared to the
21 frictional loss but I wanted to include it for
22 completeness.

23 CO-CHAIRMAN WALLIS: Well, acceleration
24 is small?

25 MR. KROTIUK: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: Oh, that's on the
2 loading. But in the wave transmission acceleration
3 is the whole thing, isn't it?

4 MR. KROTIUK: Yes, but this is for the
5 loading on the two support plate.

6 CO-CHAIRMAN WALLIS: So you're not
7 presenting your equation of motion of the fluid?

8 MR. KROTIUK: No, this is the force on
9 the tube support plate.

10 CO-CHAIRMAN WALLIS: Again, there is
11 something similar for the actual fluid going through
12 the holes.

13 MR. KROTIUK: Right.

14 CO-CHAIRMAN WALLIS: Which isn't the
15 subject of some uncertainties.

16 MR. KROTIUK: Right.

17 MEMBER RANSOM: Well, actually those
18 last two terms are the acceleration of the fluid in
19 the hole, right?

20 MR. KROTIUK: They the acceleration of
21 the fluid in the hole --

22 MEMBER RANSOM: Right. Kind of finite
23 difference approximation to that, yes.

24 MR. KROTIUK: It's just within the ΔT
25 using the ΔT that was in the code. But it's small

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 compared to -- the main term was the frictional loss
2 coefficient.

3 MEMBER RANSOM: K, the irreversible
4 loss? Yes.

5 CO-CHAIRMAN WALLIS: So the main
6 difference -- the main pressure drop through the
7 hole is just simply the flow, the steady state flow
8 loss because you're squirting fluid through the
9 hole?

10 MR. KROTIUK: That's right.

11 CO-CHAIRMAN WALLIS: That's interesting,
12 because with just sort of water hammer calculations
13 you usually throw away the friction and you say well
14 let's do inertia by itself.

15 MR. KROTIUK: Yes, but --

16 CO-CHAIRMAN WALLIS: That's everything,
17 that's the whole story. Then you put in some
18 friction and see if it makes a difference?

19 MR. KROTIUK: You're absolutely right.
20 Because if you have pipe that forces the
21 acceleration term, if you have a straight length of
22 pipe between two bends, the maximum force is the
23 acceleration term. Right.

24 MEMBER RANSOM: Actually, this under
25 dynamic conditions you have to be careful. Because,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I mean, really the velocity through the holes is
2 being driven by the Δp . And the Δp is governed by
3 the depressurization wave that's going through the
4 thing. So in reality the Δp 's could be much larger
5 than that, but only for an instant. You know, as
6 the acoustic wave passes through the plates.

7 MR. KROTIUK: Okay. This is a
8 comparison of the forces on the tube support plates.
9 Tube support 7 is on top, which is plate 1 is on the
10 bottom. And it is the forces calculated by TRACE,
11 the RELAP5 model and model which were done by
12 Westinghouse.

13 CO-CHAIRMAN WALLIS: Now are these the
14 forces in that little spike we talked about earlier?

15 MR. KROTIUK: Yes. These are the forces
16 in the little spike.

17 CO-CHAIRMAN WALLIS: So there's no data
18 to compare with any of this? There's no data for
19 transient forces on perforated plates to compare
20 with this?

21 MR. KROTIUK: Not that I --

22 CO-CHAIRMAN WALLIS: That's a real hole
23 in the data. There's no data for that initial type
24 spike for --

25 MR. KROTIUK: But, again, that's why I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was looking at the acoustic phenomena with the --

2 CO-CHAIRMAN WALLIS: And then I
3 understand later on you had a hand calculation of
4 which it was all acoustics?

5 MR. KROTIUK: Yes.

6 CO-CHAIRMAN WALLIS: Then you were
7 throwing out the form loss, which seemed to be the
8 rest of the --

9 MR. KROTIUK: Well, let's get to that.

10 This is just the comparisons of the
11 forces calculated for the different conditions the
12 100 percent power and the hot standby conditions for
13 the different break sizes, the steamline break and
14 the feedwater line break. And what it does show is
15 that the large main steamline break, the 4.6 foot
16 squared break does give the highest loadings on the
17 top tube support plate.

18 CO-CHAIRMAN WALLIS: How long do these
19 last for, these loading?

20 MR. KROTIUK: That's the next figure.
21 I'll just show you.

22 CO-CHAIRMAN WALLIS: Oh, they last quite
23 a long time?

24 MR. KROTIUK: Just one second.

25 CO-CHAIRMAN WALLIS: So they can't be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 acoustic. That's it's the friction. They establish
2 a flow through.

3 MR. KROTIUK: Well, it's a combination.

4 CO-CHAIRMAN WALLIS: Once the wave goes
5 through, you establish a flow. It then becomes
6 essentially steady flow.

7 MR. KROTIUK: Yes. But it's close enough
8 that they both have a component in there.

9 CO-CHAIRMAN WALLIS: Yes.

10 MR. KROTIUK: And then I did do a
11 conservative bounding calculation. And then is,
12 like you were saying, it's completely following an
13 acoustic wave starting at the pipe rate, traveling
14 through the central part of the steam generator and
15 also going on the outside of the feedwater annular
16 area. And basically I used just the Moody
17 methodology just to come up with the initial value
18 for the depressurization wave. Follow that through
19 geometry. I looked at the drawings. I got drawings
20 and looked at the geometry changes and tried to
21 figure out how much would be transmitted and how
22 much would be reflected.

23 And then followed it to the first top
24 two support plate. And then had a reflection and a
25 transmission through that tube support plate and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 then down to the second one, lowest one, and so on.

2 CO-CHAIRMAN WALLIS: And the huge
3 attenuation is going for the steamline to the
4 vessel. And it's a huge area ratios; that's what
5 does the tremendous attenuation from --

6 MR. KROTIUK: Right. Yes. Right.

7 But the next largest attenuation,
8 actually, was at the tube support plates themselves
9 because of such a small area across the --

10 CO-CHAIRMAN WALLIS: You said 84 percent
11 of the weight went through. That's because there's a
12 big hole in the plate.

13 MR. KROTIUK: Yes.

14 CO-CHAIRMAN WALLIS: I was surprised so
15 much wave went through.

16 MR. KROTIUK: Yes, but that's just a
17 function of areas.

18 CO-CHAIRMAN WALLIS: Yes, but there's a
19 lot of open area there. That's why it goes through.

20 So what sort of numbers for pressures
21 are they worried about that would effect these
22 plates? Is there a problem that extend psi or a
23 five or a 100?

24 MR. KROTIUK: He's present that, go
25 through that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: He's going to
2 present that.

3 MR. KROTIUK: Basically the valleys that
4 were calculated using a hand calculation were of the
5 same order of magnitude that were calculated by
6 TRACE. I can't differentiate in a hand calculation
7 between 100 percent power in the hot standby case,
8 but these results are probably closer to the hot
9 standby case.

10 CO-CHAIRMAN FORD: When you say bounding
11 calculations?

12 MR. KROTIUK: That's my hand
13 calculation, that's why I'm calling it a bounding
14 calculation.

15 CO-CHAIRMAN FORD: It doesn't mean worse
16 case calculations? Bounding to me means this is the
17 worst it could possibly be. I was about to ask you
18 the question well what physically is making it the
19 worst possible?

20 MR. KROTIUK: Yes. I guess maybe in my -
21 - and my terminology may have been wrong. It's the
22 best calculation that I could do using --

23 CO-CHAIRMAN WALLIS: It's probably
24 worst, because RELAP predicts something bigger.

25 CO-CHAIRMAN FORD: Is it just a modeling

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 artifact that RELAP is bigger than the others or --
2 can you give me a feeling for physically? How much
3 error could we have here? Could it be 18? Could it
4 be 20 psi?

5 MR. KROTIUK: I think this is the order
6 of magnitude. You know, probably 10 psi, 12 psi,
7 something of that nature.

8 CO-CHAIRMAN FORD: So it's unkind to say
9 it, but suppose the designer of the Challenger said
10 "I thought that this is the worst case scenario,"
11 but he was wrong.

12 MR. KROTIUK: I've been there. I've
13 worked for the aerospace industry, too. So I've
14 been there.

15 CO-CHAIRMAN FORD: Well, that's great.
16 I mean, there's a feeling when you say you think it
17 that it couldn't possibly be 20 PSI. You have a
18 factor of 4 between two lots of --

19 MR. KROTIUK: I think the hand
20 calculation or what I called the bounding
21 calculation, if you want, at least gave us a good
22 order of magnitude. So we know the order of
23 magnitude of -- whether it's -- I can't envision
24 that calculation coming up with something that would
25 be more than a factor of two different, you know,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 than reality. So I think the most that I would
2 really think would really be something like, you
3 know--

4 CO-CHAIRMAN WALLIS: It is kind of
5 bounding. I mean, it is reversible, it assumes no
6 losses and stuff. So I think it would be
7 applicable.

8 CO-CHAIRMAN FORD: Okay. So it's a
9 physical reason --

10 MR. KROTIUK: But I mean, there could be
11 some problems with the two. I wouldn't -- I just
12 wouldn't say that it's more than like 18 psi, you
13 know.

14 CO-CHAIRMAN WALLIS: I think it's
15 interesting. His tran flow is a lot smaller. Is
16 that a Westinghouse code?

17 MR. KROTIUK: That's a Westinghouse
18 code.

19 CO-CHAIRMAN WALLIS: Is that an approved
20 code for use?

21 MR. KROTIUK: That was the code that
22 they originally used for the calculation and --

23 CO-CHAIRMAN WALLIS: Did the NRC approve
24 it?

25 MR. KROTIUK: No.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: Because you might
2 be in trouble at NRC to prove tran flow and it was
3 in the regulations that it was okay to use it, and
4 here it --

5 MR. KROTIUK: The documentation that I
6 read basically, and this was a number of years ago,
7 the NRC asked them to redo the calculation with
8 RELAP5.

9 MEMBER RANSOM: Incidentally, when you
10 give the Moody calculation, did you use the speed of
11 sound --

12 MR. KROTIUK: Excuse me. Let just go to
13 my notes here.

14 CO-CHAIRMAN WALLIS: Did you homogenous-
15 -

16 MR. KROTIUK: Okay. I used the speed of
17 sound in steam and the water that was appropriate
18 for where it was, but I also modified the speed of
19 sound to take into account, not giving the
20 homogeneous value, but I have curves that gives a --
21 I did work a number of years ago that shows that the
22 speed of sound in a two phase mixture, it actually
23 for high void fracture, is actually very, very close
24 to the steam.

25 MEMBER RANSOM: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KROTIUK: Yes.

2 MEMBER RANSOM: You probably used the
3 frozen speed of sound rather than equilibrium sound?

4 MR. KROTIUK: Actually, it wasn't even
5 the frozen, what I would say the frozen. Because I
6 had done this many years ago, they had big curves
7 comparing it with test data. That actually had some
8 test measurements.

9 CO-CHAIRMAN WALLIS: Because the
10 homogeneous is low.

11 MR. KROTIUK: Yes, the homogeneous is
12 low.

13 CO-CHAIRMAN WALLIS: Way low.

14 MR. KROTIUK: That's why I didn't use
15 the homogeneous. I was basically using -- it was my
16 experience just from test data that I had in coming
17 up with these correlations. It's more of a fit
18 saying, gee, if I'm in the void fraction from -- I
19 don't know -- points -- I don't remember. But say
20 .5 on up, I used the steam speed of sound.

21 MEMBER RANSOM: That's almost like the
22 stratified speed of sound then, it's high slip
23 between the phases. But I don't think it makes a
24 lot of difference probably.

25 You're talking about speeds from a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 thousand down to a 100, and the homogeneous is down
2 around ten to one.

3 MR. KROTIUK: Yes, but homogeneous I
4 wouldn't believe. I mean, you know the homogeneous
5 speed of sound is --

6 MEMBER RANSOM: No, I'm not suggesting
7 that you should.

8 CO-CHAIRMAN WALLIS: It's possible to
9 get it. If you really disperse the phases, you can
10 get it.

11 MR. KROTIUK: The test data that I had
12 didn't show that.

13 MEMBER RANSOM: I think if we don't hear
14 on, we won't get a chance to hear about the results.

15 MR. KROTIUK: Okay.

16 CO-CHAIRMAN WALLIS: And now we're going
17 to hear about the mechanics.

18 MR. KROTIUK: Okay. I was finished.

19 Basically my conclusion is that the code
20 is able to give me some results that were --

21 CO-CHAIRMAN WALLIS: Are you going to
22 load these spaces and one tube is attached to them,
23 even a breaker tube and -- you're not worried about
24 the deflection of the spacer by itself,
25 particularly?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN FORD: Now, Joe, just for
2 calibration here, what we've heard is the calculated
3 loads on tube support plates. That was item 3.1a.
4 Are we going to hear now about the flow assisted
5 vibration, or was that somehow covered in that 3.1a?

6 DR. MUSCARA: The vibration loads were
7 also predicted by the thermal hydraulics work.

8 CO-CHAIRMAN FORD: Yes. Okay. I
9 noticed it was somewhere. Okay.

10 DR. MUSCARA: And then showing us the
11 technique to look at those loads and seeing --

12 CO-CHAIRMAN FORD: And there is no need
13 for any additional sensitivity studies?

14 DR. MUSCARA: I think the loads --

15 CO-CHAIRMAN FORD: Fine.

16 DR. MUSCARA: -- I think that's correct.

17 MR. MAJUMDAR: Thank you.

18 My name is Saurin Majumdar. I am from
19 Argonne National Laboratory, Energy Technology
20 Division.

21 What I did was I took Bill Krotiuk's Δp
22 data and applied them to the tube support plates in
23 a model 51 SG steam generator and see what happens.

24 CO-CHAIRMAN WALLIS: You have 38 slides?

25 MR. MAJUMDAR: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: That's 2½ minutes
2 per slide.

3 MR. MAJUMDAR: I'm going to go fast.
4 Because, again, the question I'm trying to answer is
5 does the TSP movement, the pressure across TSP
6 causes the TSP to deflect. And in model 51 steam
7 generator the tubes are rarely locked to the TSP and
8 so they move. And the question is can the cracks
9 grow, grow unstable, what are the margins? Do we
10 need any other defined TH analysis?

11 Before we did any analysis, we went and
12 did a literature survey, and this is the
13 (unintelligible due to strong foreign accent
14 [UDTSFA]) report what Bill was referring to. And
15 they did a RELAP5 calculation for pressure
16 distribution. They also did an final element
17 analysis for the dynamic -- actually dynamic elastic
18 environment analysis of the whole steam generator
19 tube system. But their objective was different from
20 ours. What they wanted to show was that TSPs move
21 would not be enough to expose the cracks that easily
22 lie within the TSPs. And so that was their
23 objective. And they were basically able to show that
24 if all the tubes they're locked to the TSPs, the
25 cracks would not be exposed.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: I'm puzzled by
2 this. Because when they manufacture the steam
3 generator, the tubes have to slide through the
4 support plates. So when it's new and clean, they're
5 not locked.

6 DR. MUSCARA: No, no.

7 CO-CHAIRMAN WALLIS: So it take some
8 time for them to be locked. I didn't see in any of
9 this discussion how long it takes to lock the tubes.
10 If it takes five years to lock a tube, then you're
11 not really justified in assuming any of them are
12 locked. But if it takes five minutes to lock a tube,
13 then that's good.

14 DR. MUSCARA: That will be conservative.

15 CO-CHAIRMAN WALLIS: Isn't that very
16 important, though?

17 DR. MUSCARA: Yes. Yes. And it'll come
18 out in the presentation.

19 CO-CHAIRMAN WALLIS: And he will talk
20 about the time to lock?

21 MR. MAJUMDAR: No.

22 DR. MUSCARA: But in general if you're
23 looking at replacement generators, even with the new
24 chemistry and the materials, very often within one
25 fuel cycle the crevices start to get filled up. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 so they start to provide some restriction on the
2 tubes.

3 Now, in the old generators when the
4 tubes are also denting, it'll give you even much
5 more locking force. But it's been noticed that even
6 within one refueling outage, they're beginning to
7 lock.

8 CO-CHAIRMAN WALLIS: So the locking
9 happens quicker than the crack growth, is that
10 right?

11 DR. MUSCARA: Well, in fact, you exactly
12 need the conditions that produce the locking, that
13 in turn produces an aggressive chemistry and then
14 the cracking begins after that.

15 MR. MAJUMDAR: Yes, but locking problems
16 appears in different way from the model E2, it was
17 another (UDTSFA) report. In this case they're using
18 ferritic stainless steel TSPs and they're not
19 locked. What they wanted to do was they wanted to
20 also show that TSP displacement during an MSLP could
21 be kept from controlled --

22 CO-CHAIRMAN WALLIS: If they're not
23 locked, they don't load the tubes at all, do you?
24 They just slide on in?

25 MR. MAJUMDAR: That's right. But in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this case--

2 CO-CHAIRMAN WALLIS: If they're locked
3 to one --

4 MR. MAJUMDAR: In this case they
5 purposely take hydraulically expanded 16 tubes. So
6 they analytically showed that if you hydraulically
7 expand 16 tubes at 3 TSPs, that will be sufficient
8 to minimize the maximum TSP disbursement relative to
9 the tube so the cracks out of the tubes several
10 places don't get exposed.

11 CO-CHAIRMAN WALLIS: Do they do that?

12 MR. MAJUMDAR: I don't know. I -- they
13 asked for this proposal was there. I'm not sure
14 whether the NRC approved it or not. Was it
15 approved?

16 DR. MUSCARA: I know it was reviewed. I
17 know there were some initial questions, but I think
18 it eventually was approved.

19 MR. KARWOSKI: The staff has approved
20 several amendments where the licensees locked the
21 tube support plates by hydraulically expanding.
22 That's been done at a number of plants. Currently I
23 don't believe any of them are in operation, plants
24 have replaced. But that has been done. Whether or
25 not 16 tubes at three tube support plates is the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 right number, I can't say. But the proposal to lock
2 the support plates and limit the tube support plate
3 motion, that has been approved.

4 MR. MAJUMDAR: What is interesting, is
5 that you don't need many, many tubes. All you need
6 is 16. Out of more than 3,000 tubes, only 16 tubes
7 are sufficient to minimize the displacement.

8 CO-CHAIRMAN WALLIS: Well, that makes
9 sense. The loads are very low pressure difference.

10 MR. MAJUMDAR: So basically the
11 conclusion from the industry analysis as it is
12 relevant to us is that the affected bending
13 stiffness of the TSPs is much less than the axial
14 thickness of the steam generator tubes so the steam
15 generator tube can really push them up and down.
16 That's because the TSPs are full of holes, as you
17 mentioned earlier.

18 CO-CHAIRMAN WALLIS: Right.

19 MR. MAJUMDAR: Now I did some additional
20 abstract imagery and supplementary final analysis --

21 CO-CHAIRMAN WALLIS: How thick as these
22 TSPs?

23 MR. MAJUMDAR: They were 3/4-inch.

24 CO-CHAIRMAN WALLIS: And the holes are?

25 MR. MAJUMDAR: 7/8-inch or a little bit

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 more.

2 CO-CHAIRMAN WALLIS: The holes are
3 comparable with the thickness?

4 DR. MUSCARA: Yes. A little bit of
5 degradation. Yes.

6 MR. MAJUMDAR: It's like a swiss cheese,
7 it varies.

8 CO-CHAIRMAN WALLIS: So a free support
9 plate under the load would --

10 MR. MAJUMDAR: Would really deflect a
11 lot.

12 CO-CHAIRMAN WALLIS: But it would also
13 essentially bend --

14 MR. MAJUMDAR: Yes.

15 CO-CHAIRMAN WALLIS: -- and tend to grab
16 the tube by bending around?

17 MR. MAJUMDAR: That's right. There are
18 all kind of other influences.

19 CO-CHAIRMAN WALLIS: That doesn't seem
20 to be considered.

21 MR. MAJUMDAR: As you can see, the most
22 critical problem is that one tube gets locked and
23 all the other tubes are free to slide. That would
24 be the worst from the tube integrity point of view.

25 The smaller number of assumption in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 model 51 case that all tube intersections are dented
2 or packed is limiting case. That's the most benign.
3 That's what they're assuming there were (UDTSFA) in
4 the first report, where all the TSP junctions are
5 locked. But the question is what happened in one
6 and all the tubes locked, that what this I looked
7 at. I'm looking at 1, 2, 4 and 10 tubes locked in a
8 local area.

9 CO-CHAIRMAN WALLIS: This support plate
10 is held on the outside parameter?

11 MR. MAJUMDAR: Yes. I showed the
12 support in the drawing I have.

13 CO-CHAIRMAN WALLIS: So it's not
14 attached to a tube at all. Does it break free at
15 the outside?

16 MR. MAJUMDAR: No, it doesn't. It's
17 welded to the wrapper.

18 CO-CHAIRMAN WALLIS: It's welded all
19 around?

20 MR. MAJUMDAR: Yes. Not all around, but
21 the wedges and blocks and they're welded to the
22 wrapper.

23 First I looked at this dynamic pressure
24 loading on the (UDTSFA) tubes. Then I looked at the
25 triangles, dynamic pressure and of course TSPs that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we had just talked about. And I got the number from
2 Bill.

3 This is for the transverse dynamic
4 pressure loading on the steam generator tube. These
5 analyses show that there is a transverse load,
6 dynamic load on the lower third of the tube support,
7 the first tube support tube in the tube sheet and
8 the tube support plate. So this part is
9 significant, especially with a history like that.

10 This is the feedwater line break, and it
11 is a very large break from MSLB. So again, in MSLB
12 gives a much higher pressure -- a higher pressure
13 than the feedwater line break.

14 CO-CHAIRMAN WALLIS: So they're pushed
15 sideways?

16 MR. MAJUMDAR: Yes. That's the sideways
17 push on the --

18 MEMBER RANSOM: How did you estimate
19 that?

20 MR. MAJUMDAR: That came from Bill's
21 calculation.

22 MEMBER RANSOM: Whose?

23 MR. KROTIUK: When I did the
24 calculations, I didn't show that. On one of the
25 viewgraphs I said that I calculated differential

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pressures across the tube support plates, across the
2 cylindrical area between the central area where the
3 tubes are and the feedwater area, and also across
4 the bend on the tubes on the top of the -- towards
5 the top of the steam generator. So, that's --

6 MEMBER RANSOM: The velocity is
7 automatically zero.

8 MR. KROTIUK: What do you mean?

9 MEMBER RANSOM: You're talking about
10 flow across the tubes, right, in a horizontal
11 direction?

12 MR. KROTIUK: No. We're talking about
13 vertical flow.

14 CO-CHAIRMAN WALLIS: That's not what it
15 looks like here. How did you get a sideways force?

16 MEMBER RANSOM: But the pull, you're
17 talking about the lateral --

18 MR. KROTIUK: Oh, yes. Because it's
19 just what you alluded to previously, is the fact
20 that the acoustic wave is traveling at different
21 rates down the center and at different rates down
22 the feedline. So that causes a differential
23 pressure across that cylindrical area.

24 MEMBER RANSOM: Since you don't know
25 what the distribution is, what do you assume?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 There's some water on one side --

2 MR. KROTIUK: I didn't make an
3 assumption. The initial conditions in the feedwater
4 area, that was liquid initially. And in the central
5 area it was varying; as you went up you were getting
6 boiling. So there were varying void fractions as
7 you're going up. But --

8 MEMBER RANSOM: You did this by hand?

9 MR. KROTIUK: No, did not do this. This
10 came out of TRACE.

11 MEMBER RANSOM: But you didn't put a
12 multidimensional model in the curves. You only put
13 a one dimensional model.

14 MR. KROTIUK: That's correct. So this is
15 just either a pressure out or a pressure in on the
16 cylinder.

17 MEMBER RANSOM: I don't understand it at
18 all. I mean, you only have one pressure and one
19 velocity in a one dimensional model, so I'm curious
20 how would you estimate the transverse force then?

21 MR. KROTIUK: It's like a pressure
22 force, that's all it is. It's like --

23 MEMBER RANSOM: Well, pressure has to
24 have delta?

25 MR. KROTIUK: Right, there's a Δp .

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER RANSOM: So what are the two
2 pressures? There's only one calculated.

3 MR. KROTIUK: Okay. Δp is across the
4 cylindrical area --

5 MEMBER RANSOM: Oh, the shroud, you
6 mean?

7 MR. KROTIUK: The shroud.

8 MEMBER RANSOM: Oh, shroud. I thought
9 you were talking about the pressure across the
10 tubes.

11 MR. KROTIUK: No, no, no. The shroud.
12 I'm talking about the shroud.

13 MR. MAJUMDAR: I misunderstood. I
14 thought I had it -- I thought it was the bottom
15 third of the tube was subjected to this pressure,
16 but never shroud.

17 MR. KROTIUK: That's the shroud, yes.

18 MR. MAJUMDAR: Not the tube?

19 MEMBER RANSOM: So it's not the tube?

20 CO-CHAIRMAN WALLIS: So you've been
21 loading them upside down.

22 MR. KROTIUK: All right.

23 CO-CHAIRMAN WALLIS: I was wondering how
24 you managed to load the tubes.

25 MR. KROTIUK: Okay. Anyway, what we did

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was --

2 CO-CHAIRMAN WALLIS: You loaded the
3 tubes anyway, and they bend sideways?

4 MR. MAJUMDAR: Yes, they bend sideways.
5 But I guess we're not -- what I wanted to show, I
6 said do we need to come back to dynamic analysis for
7 this kind of a tube geometry. So I did several
8 dynamic, elastic dynamic analyses, one with .01
9 second rise time pressure pulse, .02 and here it is
10 one second and then there was a study.

11 As you can see, as for the one second
12 rise time it's almost (UDTSFA) study, actually rides
13 on top of each other. And you've got to consider
14 the dynamic effects. If the rise time gets much
15 shorter than .01, or a total of .01. But you will
16 see, most of the rise times are (UDTSFA) half second
17 or quarter second once again. So we concluded that
18 the static analysis should be okay for a rise time
19 for .1 second.

20 If you look at Bill's pressure (UDTSFA),
21 the rise times are much better than .01 seconds. So
22 this is telling the static analysis is all right.

23 Okay. This is the bounding conditioning
24 he's talking about. This is a typical tube support
25 plate here and they got fixed supports here, there.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 These supports on the edge are rendered to the
2 wrapper. And the tierods, they circle the tierods.
3 They go from the bottom tube sheet to the top two
4 support plates. And all these tierods and wedges in
5 this thing are much more rigid than tube. So what
6 we assume, that this provided specifically rigid
7 support to the tube support plate. And there's one
8 tierod right of the center of a tube support plate.

9 MEMBER RANSOM: Are those rods welded to
10 the plate or are they --

11 MR. MAJUMDAR: The rods go through the
12 plates. They are fed into the tube sheet at the
13 bottom and welded at the top.

14 I think the first tube support plate
15 might be welded to the rod, but not all the second--
16 they're not welded. They got spaces in between each
17 support plate.

18 MEMBER RANSOM: Spacers? Yes.

19 MR. MAJUMDAR: Now basically what I did
20 was I did a series of unit pressure drop analyses.
21 That means that I have subjected each of the TSP to
22 a unit pressure drop keeping the others unloaded and
23 completed the stresses and displacement. So what
24 each analysis had unit pressure and a single TSP
25 with the rest of the TSPs unloaded. Then I used

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 principle of superposition were used to combine the
2 pressure loading on all the TSPs.

3 So I had the pressure loading from
4 Bill's calculation. I could apply those pressures
5 to all the TSPs. And based on this unit pressure
6 drop analysis we computed the total stress.

7 Now if you look at just a single TSP
8 with that Δp or one psi without any tube lock, no
9 tube lock; this is the center of the tube and this
10 is the outer wall support. It deflects like this,
11 as you would expect it has deflections. The tube is
12 very difficult but it is flexible and you get .04 of
13 displacement.

14 If you put a tube here that is locked,
15 that brings down the displacement to this value. The
16 maximum displacement now moves to this area here.
17 So the maximum displacement is reduced .44 to .054
18 here. That's for the introduction of one tube lock.
19 The rest of the tubes are unlocked. And the maximum
20 von Mises stress in the plate is reduced from 7 to 3
21 ksi.

22 CO-CHAIRMAN FORD: I noticed in your
23 code you used three decimal places. This is a
24 calculation?

25 MR. MAJUMDAR: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER RANSOM: I haven't thumbed
2 through here, but will you be showing some
3 observation versus calculation?

4 MR. MAJUMDAR: We had no test did on
5 this.

6 CO-CHAIRMAN FORD: Okay. Is this so
7 well known it's just like one plus one equals two?

8 MR. MAJUMDAR: This is elastic analyses.
9 It is very similar.

10 CO-CHAIRMAN FORD: There's no reason to
11 question these calculations?

12 MR. MAJUMDAR: As long as you know the
13 pressure and the boundary conditions, the analyses
14 is pretty straightforward.

15 CO-CHAIRMAN FORD: Okay.

16 MR. MAJUMDAR: So basically what I did
17 was I applied a unit pressure loading to all the
18 tube support plates and I am plotting here actual
19 load goes essentially near the tube versus the
20 intervention of all the tube (UDTSFA). But this is
21 1 psi on the first TSP so the load is specifically
22 taken up as it tensile load below the tube support
23 plate. And there is a slight compressive load taken
24 by the (UDTSFA) the tube below the TSP is subject to
25 the tension on the tube flying above the seven tube

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 support plate there's a little compression. And
2 same thing for all the seven tube support plates.

3 So once we have this, then we can use
4 the results from all these seven cases and then
5 apply (UDTSFA) to get the final answer.

6 MEMBER RANSOM: Out of curiosity how do
7 you make this calculation for this plate which is
8 full of holes?

9 MR. MAJUMDAR: Okay. It's a good
10 question.

11 I took the flat bending flexibility
12 number from the Westinghouse -- the Westinghouse
13 (UDTSFA) report had the number for the bending
14 stiffness for the tube support plate.

15 MEMBER RANSOM: And that would include
16 all the holes?

17 MR. MAJUMDAR: All the holes. That's an
18 involved calculation.

19 CO-CHAIRMAN FORD: I'm trying to think
20 of the downside to this. For instance, isn't this
21 like a bongo drum? I mean, couldn't you wang it and
22 it deflects a small amount but it could reverberate?
23 It could --

24 MR. MAJUMDAR: That's what I show in the
25 first couple of slides back, do I need a dynamic

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 analyses or not? But the rise times were slow
2 enough that this static analyses is good enough on
3 these kind of -- and I show frequencies pretty --
4 very high.

5 CO-CHAIRMAN FORD: Okay.

6 MR. MAJUMDAR: So time period is pretty
7 small compared to the time period of the rise time
8 on the pressure pulse.

9 CO-CHAIRMAN FORD: It's so damped that--

10 MR. MAJUMDAR: Yes.

11 CO-CHAIRMAN FORD: Okay.

12 MR. MAJUMDAR: The dynamics of this are
13 not really playing a part. Well, in fact,
14 Westinghouse also observed the same thing. The end
15 started -- static analyses whether than dynamic
16 analyses.

17 And the last slide I showed the load.
18 Now here I'm plotting the stress. So I'm plotting
19 the direct axial stress and also the bending stress,
20 these are the dashed lines here. At the TSP, stress
21 -- it introduces bending stresses in the tubes that
22 are locked to it. As you can see, the bending
23 stresses are small compared to the direct actual
24 stresses. So the effect of bending stresses on the
25 rupture of flawed tubes we already know, so we know

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the effect of the bending stress on the rupture, but
2 we investigated the effect of the bending both
3 analytically and then experimentally by a series of
4 experiments. And the results show that the bending
5 stresses can be ignored when analyzing rupture of
6 the steam generator tubes.

7 So in all my calculations I did know the
8 bending stresses on the tube rupture.

9 CO-CHAIRMAN FORD: I'm sorry to keep
10 questioning your veracity. But is there any other
11 equivalent structures? I mean there's lot of heat
12 exchangers out in the business. And have these sort
13 of approaches been used on them and shown to be
14 accurate?

15 MR. MAJUMDAR: Yes, pretty routinely.
16 They analyze steam generator tubes using this kind
17 of a unrelevant approach. And --

18 CO-CHAIRMAN FORD: Okay.

19 MR. MAJUMDAR: -- I can't off the top of
20 my head remember any study that showed the analysis
21 is good. But elastic analyses, it's pretty
22 straightforward. There's not -- it's not elastic,
23 plastic creep or anything like that.

24 CO-CHAIRMAN FORD: Okay.

25 MEMBER RANSOM: One question I have on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 these tube support plates, I know that some steam
2 generators had -- they were not symmetric. You
3 know, they were made to have cross flow or cross --

4 MR. MAJUMDAR: Yes, they use heat
5 usually.

6 MEMBER RANSOM: That's true here?

7 MR. MAJUMDAR: No, that's not here. The
8 model 51 doesn't have a heater.

9 MEMBER RANSOM: Does not have that?

10 MR. MAJUMDAR: No.

11 MEMBER RANSOM: Some steam generators do
12 have that then?

13 MR. MAJUMDAR: The E2 model, has a
14 heater and --

15 MEMBER RANSOM: Which one?

16 MR. MAJUMDAR: Model E2.

17 MEMBER RANSOM: I'm wondering if that's
18 -- that one would certainly be different than these
19 steam generators. Is this study only directed
20 toward this?

21 MR. MAJUMDAR: Model 51.

22 MEMBER RANSOM: Only 51.

23 MR. MAJUMDAR: Only with carbon steel
24 TSP which showed this locking of the tubes to the
25 tube support plate.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER RANSOM: I guess I'm asking the
2 bigger question. This whole question of main
3 steamline break and containment bypass, is it only
4 concerned with systems which have that steam
5 generator?

6 MR. MAJUMDAR: That's --

7 MEMBER SIEBER: That's the most severe
8 case?

9 MR. MAJUMDAR: That's the severe case.

10 MEMBER SIEBER: Model 51.

11 DR. MUSCARA: Most of them have one of
12 those generators inservice.

13 MEMBER SIEBER: Of that period, there's
14 a model 54 now that gets us --

15 MR. MAJUMDAR: The 44 is very close --

16 MEMBER SIEBER: 44 has a less stored
17 energy than a 51.

18 CO-CHAIRMAN FORD: But I think the
19 answer to Vic's question is isn't that true that
20 that's the only design that's got round tube support
21 plate holes with a carbon steel support plate, and
22 therefore it's likely to be the most degraded one?

23 MEMBER SIEBER: Everything before model
24 51 or before are all carbon steel drove tube support
25 plates. The E2 and the F -- E2 was stainless. The

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 F was carbon. And then the plates came after that.

2 MR. KARWOSKI: This is Ken Karwoski from
3 the NRR staff.

4 With respect to are there other models
5 besides model 51 steam generators that have stress
6 corrosion cracking at the tube support plates? The
7 model D steam generators have drilled hole tube
8 support plates, have stress corrosion cracking.

9 There are two plants that currently
10 implement the Generic Letter 95-05 Ultimate Repair
11 Criteria that have the pre-heater design steam
12 generators.

13 MEMBER SIEBER: Right.

14 MR. KARWOSKI: And they do implement the
15 criteria. So there are two plants out there that
16 have that type of design.

17 MEMBER RANSOM: The only reason I asked
18 that is, of course, there are some lateral forces on
19 the tubes in those designs that are not being
20 considered here.

21 MEMBER SIEBER: Well, it seemed to me
22 Westinghouse did a similar study on the pre-heater
23 type --

24 MR. MAJUMDAR: Maybe that's the (UDTSFA)

25 MEMBER SIEBER: Right. Right. So it's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 not like that case has been ignored, but this is
2 probably a more severe case?

3 MR. MAJUMDAR: Now I look at multiple
4 locked tube case just after our one tube lock. In
5 the case of drilled support plate, it is highly
6 unlikely that only a single tube will be locked
7 because these are caused by corrosion, so corrosion
8 is really related to a small, small area. So there
9 should be more than one tube that's really locked at
10 the TSP. So we conducted analyses to where two,
11 four and even 10 tubes are locked, about a quarter
12 of the TSP. So we model only one quarter of the
13 TSP.

14 MEMBER SIEBER: Right. Wasn't there a
15 case where tubes were intentionally rolled into the
16 --

17 MR. MAJUMDAR: Yes, that's what I said.
18 In that model E2 intentionally hydraulically
19 expanded the tubes.

20 CO-CHAIRMAN WALLIS: Because they are
21 getting from being new and not stuck to being
22 totally locked, what sort of stage do they go
23 through?

24 MR. MAJUMDAR: That's a good question.

25 CO-CHAIRMAN WALLIS: Are they partly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 locked, are they --

2 MR. MAJUMDAR: Usually they do a tube
3 pull test, and there's some force at which point the
4 tube start slipping from the tube support plates.
5 Tube pullout. I'm talking about the tube pullout
6 load. But I don't know whether they go through a
7 transient of they're not semi-locked, quarter
8 locked. There must be some rate of locking. I don't
9 know. There has been no study -- I don't think so.

10 DR. MUSCARA: Well, we've measured
11 forces for pulling tubes, for example, out of the
12 McGuire. And we did some work on the Surry
13 generator that we studied at PNL. And in most cases
14 it showed one to two thousand pounds of pull to move
15 the tubes from the support plates.

16 So when they're locked, they're locked
17 in.

18 MEMBER SIEBER: They're locked.

19 DR. MUSCARA: Yes. But your question
20 was what's the transition from being free to being
21 fully packed, and all I can mention is that the
22 observation that even within one fuel cycle the
23 crevices get to be packed.

24 CO-CHAIRMAN WALLIS: They get locked
25 solid?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MAJUMDAR: Well, it's difficult to
2 say because there's not that much --

3 CO-CHAIRMAN WALLIS: Because you can
4 still pull them out?

5 MR. MAJUMDAR: Oh, yes. There's some,
6 pounds of force to pull them out.

7 MEMBER BONACA: Although if you have
8 many locked together, then even if they're not
9 locked solid, the question is how do you get there?
10 I mean, is there a correlation somewhat to the
11 degraded steam generator where you have many tubes
12 already cracked and they're locking?

13 DR. MUSCARA: Well, if you're looking at
14 the support plate cracking, those tubes are locked
15 and cracked.

16 MR. MAJUMDAR: Yes.

17 DR. MUSCARA: If you're looking at new
18 generator, you know at the beginning it's not
19 cracked and not locked. But that's the best
20 situation. If there's no degradation, there's no
21 force transmitted to the tube. If there is a
22 corrosion problem going on, it doesn't happen just
23 in one tube. It happens widely over an area. And
24 that's a good situation also because then the load
25 is shared by many tubes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BONACA: That's right.

2 DR. MUSCARA: And the calculations we've
3 done here are quite conservative because we assume
4 that the load is shared only between one and ten
5 tubes, and it's normally hundreds if not thousands
6 of tubes that they are locked and share the load.

7 MR. MAJUMDAR: As you can see that
8 maximum stress actually down. This is our most
9 effected tube down from when the one tube was
10 locked. And that's putting two instead of one,
11 halves the maximum.

12 CO-CHAIRMAN WALLIS: I find it strange
13 to assume that one tube out of 3,000 is locked. I
14 would think it's more likely that --

15 MR. MAJUMDAR: Yes, that's true.

16 CO-CHAIRMAN WALLIS: -- 3,000 are in
17 different stages of getting partly locked.

18 DR. MUSCARA: That's right, and that's
19 the point we are making. So this is a very
20 conservative assumption.

21 CO-CHAIRMAN WALLIS: Well, I don't know
22 whether it is or not, because I don't really know
23 how it gets to be locked. You're telling me it
24 sounds as if it's conservative. I don't know until
25 there's some sort of evidence that says when they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 get locked --

2 MR. MAJUMDAR: But from the tubes --
3 from the -- if the tube support plate is not locked
4 to the tubes, then the tubes are safe. There is no
5 problem with the tube. No load is transferred to
6 the tube. It's only when they get --

7 CO-CHAIRMAN WALLIS: So when they're
8 unlocked there's no problem and when they're locked
9 there's no problem. But there's a certain period of
10 time, a window when it could be --

11 MEMBER SIEBER: Well, there is an
12 instant in time when one tube is locked.

13 CO-CHAIRMAN WALLIS: And others?

14 MEMBER SIEBER: But you start from zero
15 and go to some other number. So there's got to be
16 the first one.

17 DR. MUSCARA: But it's not just one tube
18 that gets lock. There is a generic problem that's
19 going on in the generator, and it's the corrosion.
20 And so you have different degrees of locking even at
21 the beginning.

22 MEMBER SIEBER: That's right.

23 DR. MUSCARA: Because it effects many
24 tubes at the same time.

25 MEMBER SIEBER: You get drag.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. MUSCARA: So maybe one may get
2 sooner to be completely locked, but they all
3 experience some degree of locking.

4 CO-CHAIRMAN WALLIS: So the real thing
5 to do would be to show that after one month that the
6 average lock is worth 200 pounds of pull or
7 something. Then you've got something to work with.
8 Otherwise, it's sort of someone's guess.

9 MEMBER SIEBER: It's too late. It's too
10 late, though.

11 CO-CHAIRMAN WALLIS: It's too late? You
12 don't know that.

13 MEMBER SIEBER: The only way you can do
14 that is by analysis. It's too late because it was
15 25 years ago.

16 CO-CHAIRMAN WALLIS: So you're only
17 worried about old steam generators?

18 MEMBER SIEBER: Yes.

19 DR. MUSCARA: Well, again, even with new
20 generators if we're going to experience a
21 degradation mechanism it's going to affect a number
22 of tubes. So there's never a situation where we
23 only have one tube completely locked. If there's a
24 tube locked, I would be willing to bet there are
25 many more there are locked.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Yes. But the new
2 generators have the quatrefoil design or egg crate,
3 or something like that which are less likely to
4 lock.

5 DR. MUSCARA: Yes. But this is the
6 example I was bringing out earlier. If you look
7 even at the replacement generators with the
8 quartrefoil design and stainless steel support
9 plate, the crevice gets filled up sometimes or often
10 within the first cycle.

11 MEMBER SIEBER: Yes, that's true.

12 DR. MUSCARA: Now there's no denting
13 necessarily but it's filled up.

14 CO-CHAIRMAN WALLIS: It gets filled up
15 with corrosion which is happening on the steam
16 generator tubes or with the crude that comes from
17 somewhere else?

18 DR. MUSCARA: No, no. It's crude --

19 MEMBER SIEBER: Crude.

20 DR. MUSCARA: -- in concentration within
21 the crevice.

22 CO-CHAIRMAN WALLIS: That comes from
23 somewhere else?

24 DR. MUSCARA: Sure. Transport, yes.

25 CO-CHAIRMAN WALLIS: And it settles or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is jammed into the space somehow and then attaches
2 itself and grows a little bit?

3 DR. MUSCARA: It doesn't necessarily
4 grow unless we're talking about carbon steel support
5 plate, which the carbon steel gets attacked and the
6 volume of the magnetite is twice the volume of the
7 ferritic material. But if the crevice gets filled
8 up, then there's also a chance for chemicals to
9 concentrate, which in turn will provide an
10 aggressive water temperature and corrosion of the
11 tube.

12 CO-CHAIRMAN WALLIS: I just don't know
13 how a sort of deposit which is coming out of the
14 water. I can understand it sort of getting in the
15 crevice. I can't quite understand how it locks.

16 MEMBER SIEBER: Well, it builds up
17 because it's boiling.

18 CO-CHAIRMAN WALLIS: It has to bond
19 with something. It doesn't just get deposited. If
20 you deposit dust --

21 DR. MUSCARA: The volume of the oxide is
22 greater than the mechanism.

23 CO-CHAIRMAN WALLIS: So it's coming in
24 from -- it's just dropped out of the water that's
25 circulating?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN FORD: No. It's coming from
2 the corrosion of the carbon steel.

3 CO-CHAIRMAN WALLIS: No, that's not what
4 he said.

5 MR. MAJUMDAR: No, the corrosion
6 product. The corrosion product versus --

7 DR. MUSCARA: They are both problems.
8 If you have the carbon steel support plate, it
9 corrodes--

10 CO-CHAIRMAN WALLIS: Yes, that's it, but
11 the other ones don't.

12 DR. MUSCARA: -- resupplies the volume
13 and it locks and dents the tube. In a generator
14 that has stainless steel plate --

15 CO-CHAIRMAN WALLIS: Right.

16 DR. MUSCARA: Those crevices also get
17 filled up --

18 CO-CHAIRMAN WALLIS: But it's not the
19 same mechanism, so I don't understand how those
20 lock. I can understand depositing stuff in there,
21 but unless there's some demonstrate --

22 DR. MUSCARA: Well, because the crevice
23 gets filled with a very tenacious semitacious
24 material.

25 CO-CHAIRMAN WALLIS: In other words, it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sticks in some way?

2 DR. MUSCARA: Oh, definitely. I mean,
3 sometimes you can't even -- you know, you have to
4 hammer the thing apart.

5 CO-CHAIRMAN WALLIS: But just a deposit
6 coming out of solution. I think it's the dust in a
7 room and falling into a hole, it doesn't just jam
8 the hole.

9 DR. MUSCARA: It's metallic, it's
10 magnetite, you know, corrosion products --

11 CO-CHAIRMAN WALLIS: And it bounds in
12 some way.

13 MEMBER SIEBER: And corrosion actually
14 takes place in the crevice of these --

15 CO-CHAIRMAN WALLIS: In that case, it
16 would ball, I can see that. I can see that. Unless
17 there's chemistry in the crevice which is --

18 DR. MUSCARA: That's right. The
19 corrosion product plus as the chemistry get worse
20 and worse and then there's corrosion --

21 MEMBER SIEBER: Concentrates, because
22 there's boiling.

23 MR. MAJUMDAR: So basically all the
24 purpose of this slide is to show there as I -- there
25 are locked more and more tubes at maximum stress and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 drops down almost in direct proportion to the number
2 of tubes locked.

3 Now, next I take all this unit pressure
4 drop analyses and apply it to the large MSLB from
5 hot standby, which was --

6 CO-CHAIRMAN WALLIS: But it all goes
7 away because you've got so many tubes that are
8 likely to be locked?

9 DR. MUSCARA: Yes, that's right.

10 CO-CHAIRMAN WALLIS: So it isn't a
11 problem, is it?

12 DR. MUSCARA: That's what we conclude.

13 MEMBER RANSOM: You're better off.

14 DR. MUSCARA: And I guess we're
15 finished.

16 CO-CHAIRMAN WALLIS: But it's a
17 qualitative sort of thing.

18 MR. MAJUMDAR: So we took those out, any
19 pressure drop analysis.

20 And the one thing I forgot to mention is
21 that we take Bill Krotiuk's pressure drop numbers
22 and then actually multiple them by 1.5, as I say, a
23 safety factor or uncertainty factor. This is the
24 number he recommended that we use.

25 MEMBER RANSOM: Could you remind me of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what K-I-P-S means.

2 MR. MAJUMDAR: Okay. Thousand pounds is
3 one kips. One thousand pounds --

4 MEMBER RANSOM: Pounds?

5 MR. MAJUMDAR: Yes.

6 DR. MUSCARA: It's like psi times a
7 thousands.

8 MR. MAJUMDAR: Not psi, pounds. Load
9 force.

10 MEMBER RANSOM: Right.

11 MR. MAJUMDAR: An actual force.

12 CO-CHAIRMAN WALLIS: Pounds at the end
13 of the kips.

14 MEMBER RANSOM: Kilopounds, right?

15 MR. MAJUMDAR: Ah, a kilopound.

16 MEMBER SIEBER: Very good.

17 MEMBER RANSOM: I know I've encountered
18 it before, but I couldn't remember.

19 MR. MAJUMDAR: Okay. Now, we assume --

20 CO-CHAIRMAN WALLIS: So a pound force is
21 the weight of a pound on earth?

22 MEMBER SIEBER: That's right.

23 MR. MAJUMDAR: You see a pound in this,
24 and in England --

25 First of all, I assumed the case where

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there's no slippage between the TSP and the steam
2 generator tube, a complete locking. And I show the
3 total axial load of the TSP to the function of the
4 TSP number here. As you can see, for when one tube
5 is locked you got very high loads of psi -- kips
6 actually. And it actually takes five kips to even
7 make the tube yield. So these tubes here would
8 probably yield and probably rupture, might even
9 rupture.

10 On the right side I show the pullout
11 load at the TSP. At each TSP the pressure load on
12 the TSP gets transferred to the tube. There is a
13 pullout load at each TSP and tube junction. And as
14 you can see on the seven tube support plate they
15 have the highest tube pullout load, because remember
16 the pressure drop on the number seven TSP are the
17 highest of all the seven tube support plate.

18 And at the bottom of the steam
19 generator, the load is negative because the pressure
20 reverses at the bottom first tube support plate.

21 Now, the total axial load needed to
22 cause yielding is 5.4 kips, so these are all
23 yielding there. Until you go to 14, then you become
24 closer to the yield.

25 The maximum load exerted on the tube is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 less than 5 kips if four or more tubes per quarter
2 TSP are locked to the TSPs.

3 CO-CHAIRMAN WALLIS: Well, if it reaches
4 this 11.7 kips, then presumably it pulls out?

5 MR. MAJUMDAR: The 11.7 that's the
6 ultimate strength.

7 CO-CHAIRMAN WALLIS: Presumably it pulls
8 out?

9 MR. MAJUMDAR: No, it doesn't come pull
10 out. You have the materials ducked out these are
11 our elastic analyses, so you need some displacement
12 to pull it out. And the actual driving force is the
13 TSP displacement. The displacement is limited, so
14 the tube really won't -- even if there is no flaw --

15 CO-CHAIRMAN WALLIS: You're saying that
16 all these tubes got pulled out with a force of less
17 than 44-27 pounds or something like that.

18 MR. MAJUMDAR: Yes.

19 CO-CHAIRMAN WALLIS: So it didn't get to
20 5.4 kips?

21 MR. MAJUMDAR: No.

22 CO-CHAIRMAN WALLIS: -- 5.4 kips. I
23 don't know what that's doing.

24 MR. MAJUMDAR: The thing is that that's
25 the point -- that's the point that we're making that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this kind of high tube pullout load cannot be --

2 CO-CHAIRMAN WALLIS: It would have
3 pulled out by then.

4 MR. MAJUMDAR: -- pulled out by now.

5 CO-CHAIRMAN WALLIS: Yes.

6 MR. MAJUMDAR: What happens is it's not
7 pulled out, it slips so that the constant load is
8 slipping. So if you take that into account, you can
9 see if the tube pullout load is five kips, then you
10 get after that five kips --

11 CO-CHAIRMAN WALLIS: It never gets
12 beyond that so nothing ever happens?

13 MR. MAJUMDAR: No. The question is the
14 thing is that any load transferred to the top TSP
15 gets transferred to the tube all the way down to the
16 tube sheet. Because the load on the tube is pretty
17 high, even though the first tube support plate does
18 not see any Δp , the actual load under that portion
19 of the tube is pretty high. So the load from the
20 upper TSP gets transferred to the lower tube.

21 CO-CHAIRMAN WALLIS: And everything is
22 hanging on at the bottom?

23 MR. MAJUMDAR: Yes. That's right.

24 Again, if you reduced the tube pullout
25 load to one kip, then the maximum load gets reduced

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 again and basically the axial load is already
2 reduced proportionately.

3 Now, this is the tube pullout data, the
4 only one I could get hold of is this non-dented tube
5 pullout data from Dampierre-1. And they did an
6 extensive tube pullout test, actually a number of
7 tests 23.7, at room temperature, 12 at this, 9. They
8 calculated these numbers. But basically what from
9 this we assumed that the 4000 pounds, this number is
10 our 95 percent confidence limit has an upper bound
11 to pullout load and 2700 the mean force -- the
12 average axial load transmitted from a TSP to a
13 locked tube at 550 F.

14 CO-CHAIRMAN FORD: You said this is from
15 a non-dented?

16 MR. MAJUMDAR: Non-dented, yes.

17 DR. MUSCARA: That partially answers the
18 question you were asking before, the degree of
19 locking without dents.

20 MR. MAJUMDAR: Yes. All these tubes in
21 France, they are basically unlocked. They are not
22 dented -- they are locked but not dented.

23 CO-CHAIRMAN FORD: I'm sorry. Could you
24 go back to the Dampierre data? What are you trying
25 to tell us here?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MAJUMDAR: We believe that from this
2 data that they conducted, this is the tube pullout
3 data. This is the -- we didn't run this test,
4 Dampierre run this. And there aren't many -- quite
5 a few tests, actually, and from this test we
6 designed this upper bound pullout tube pullout load
7 on an average --

8 CO-CHAIRMAN WALLIS: But this is French
9 data. Should we throw it out?

10 MEMBER SIEBER: On principle.

11 DR. MUSCARA: Can we mention this is not
12 field data, this is a plant that was replaced. It's
13 much like our Surry generator where we did a lot of
14 work on our steam generator replace in service.

15 CO-CHAIRMAN WALLIS: Okay.

16 DR. MUSCARA: Dampierre was removed from
17 service and then, you know, they measure loads in
18 pulling the tubes, much like we did with Surry. But
19 Surry had so much degradation that, you know, a
20 1,000 pounds was enough to pull the tubes apart
21 because the support plates were breaking apart also.

22 MR. MAJUMDAR: But the French did a very
23 systematic manner, so they keep the statistics on
24 that.

25 CO-CHAIRMAN WALLIS: All their tubes

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 were stuck?

2 MR. MAJUMDAR: Yes, most of them. Yes.

3 DR. MUSCARA: They were stuck but not
4 dented.

5 CO-CHAIRMAN WALLIS: So probably there
6 were 2,000 or at least stuck tubes in their steam
7 generator and there's no way that plate's going to
8 move at all.

9 DR. MUSCARA: Right.

10 MR. MAJUMDAR: Okay. So basically the
11 effect of an MSLB on flawed tube, up to now we have
12 looked at the unflawed tubes, the whole reason for
13 carrying out this study is to see the effect of the
14 tube load on the stability of flaws existing in the
15 upper tube sheet or mid scan region.

16 CO-CHAIRMAN WALLIS: Are primarily
17 axial? What else would you expect? You're looking
18 at the distortion of the plate or something?

19 MR. MAJUMDAR: The loads are axial,
20 primarily axial, yes.

21 CO-CHAIRMAN WALLIS: What produces other
22 loads?

23 MR. MAJUMDAR: Not bending, I mean
24 there's no bending there. Bending stresses are
25 negligible.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: On the tubes? You
2 got twisting the end of them from the plate?

3 MR. MAJUMDAR: As I showed earlier, the
4 bending stresses are small compared to the actual
5 stresses. The tube support plate is very flexible.
6 It's like a cheese, a swiss cheese.

7 Dynamic loads are not important, as I
8 showed earlier. The effects of axial loads on the
9 stability of both axial and circumferential cracks
10 were considered. So the material properties that
11 are used for average alloy 600 tubes at 286, yield
12 of 40 ksi and UTS of 90 ksi.

13 Now first I considered the axial crack.
14 The effect of axial crack on stability of actual
15 cracks. And basically the bottom line is that axial
16 cracks, and when you're pulling on the axial
17 direction, the axial cracks hardly see the axial
18 load. In fact, the crack opening decreases because
19 of the pull on the tube due to force on the crack
20 and in fact the tube burst pressure actually goes
21 up.

22 So the axial cracks are basically benign
23 in the presence of axial load on the tube.

24 MEMBER RANSOM: Again, these units of
25 pressure ksi or thousands of psi, is that right?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MAJUMDAR: Which one?

2 MEMBER RANSOM: Ksi is -- this is ksi,
3 thousand psi.

4 MEMBER RANSOM: It means thousands of
5 psi?

6 MR. MAJUMDAR: Yes. Yes. For example,
7 this is half-inch long crack. We predict failure to
8 get over 4600 -- 4400 psi.

9 MEMBER RANSOM: Okay.

10 MR. MAJUMDAR: And the tests actually
11 show very close to that number.

12 But axial cracks are basically not to
13 worry about. The problem will come on the
14 circumferential cracks that are vulnerable to axial
15 loads on the tube.

16 CO-CHAIRMAN FORD: Excuse me. Just
17 before you get onto that, and that's even -- your
18 previous conclusion is even more conservative
19 because in fact you'll be confined by the tube
20 sheet, the crude filled tube sheet around the axial
21 crack, is that correct?

22 MR. MAJUMDAR: I'm telling you the axial
23 cracks above the tube sheet are tube support plate.

24 CO-CHAIRMAN FORD: On the small amount
25 is above the --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MAJUMDAR: I am talking about the
2 generator crack that is sticking outside the tube
3 support plate or the tube sheet, or in the midst of
4 those cracks, when you pull them, when the axial
5 load is applied on that tube, those axial cracks may
6 tend to close. And that's what this analysis is
7 showing really.

8 DR. MUSCARA: And the crack on the
9 support plate will tend to be locked, so it'll be
10 even, as you say, more concerned about.

11 CO-CHAIRMAN FORD: Yes. Yes. Okay.

12 MR. MAJUMDAR: Now, this is the
13 circumferential crack, for example, on top of tube
14 sheet. And there is an EPRI/Zahoor model that will
15 assume that the tube is free to bend. And in
16 reality there is a tube support plate that's there
17 and does not allow the tube to bend. And basically
18 what I'm showing here is that if you take the
19 support effect into account, then crack driving
20 force, which I am plotting here, the K_j is the
21 crack driving force versus the axial load. If you
22 assume the tube is free to bend it come up this way
23 and then you go out this way. Very high crack
24 driving force.

25 CO-CHAIRMAN WALLIS: Why is it going to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bend when it's being pulled?

2 MR. MAJUMDAR: It's really unsymmetric--

3 CO-CHAIRMAN WALLIS: It's unsymmetric --

4 MR. MAJUMDAR: Yes. Yes. It will bend.

5 MEMBER BONACA: I'm sorry. What are you
6 representing there?

7 MR. MAJUMDAR: This is a tube, for
8 example.

9 MEMBER BONACA: Tube. Okay.

10 MR. MAJUMDAR: That could be a tube
11 sheet or where it's clamped down and then the tube
12 support plate that supports the end. And you put a
13 crack, a circumferential crack there and if you
14 assume that the tube is unsupported, then you get a
15 very high crack driving force, for example here.
16 And we double up the model, Argonne showing that the
17 effect of this small support, this support on the
18 TSP can drastically reduce the crack driving force.
19 And it is very conservative, you use this instead of
20 that curve.

21 And this curve depends on the stand
22 (UDTSFA) this stands between the tube sheet and the
23 first tube support plate.

24 MEMBER BONACA: You said before that if
25 without a locked tube, the maximum transverse

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 displacement of the plate, of the first plate, would
2 be .4 inches.

3 MR. MAJUMDAR: .4 --

4 MEMBER BONACA: Yes. Okay. Would that
5 be the largest displacement? What I mean is that
6 the other support plates will displace less, right?

7 MR. MAJUMDAR: Well, the other support
8 plates --

9 MEMBER BONACA: I'm sorry?

10 MR. MAJUMDAR: The other support plates
11 are slightly higher. The top support plates have
12 higher pressure on them.

13 MEMBER BONACA: So they would displace
14 more?

15 MR. MAJUMDAR: But their load gets
16 transmitted to the lower support plates.

17 MEMBER BONACA: I understand that.
18 That's exactly what I was trying to understand.
19 What is the maximum displacement any given location
20 on any support plate could experience, assuming it
21 was unlocked?

22 MR. MAJUMDAR: Actually, the tube
23 support plate displacement is not included in this
24 plot I'm plotting here.

25 MEMBER BONACA: No. You had it on page

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 13, however.

2 MR. MAJUMDAR: Yes.

3 MEMBER BONACA: And that's the only one
4 you're showing as far as displacement. And you've
5 shown it for the first support plate.

6 MR. MAJUMDAR: Yes.

7 MEMBER BONACA: And you are telling me
8 that's not the most limiting insofar as the
9 displacement. So I was curious to draw --

10 MR. MAJUMDAR: But this could be, for
11 example, this second tube support plate, that could
12 be the third. So any tube span would be expressed
13 like that, would be analyzed like that.

14 CO-CHAIRMAN WALLIS: It's free to bend,
15 isn't it?

16 MEMBER BONACA: If you calculate a
17 displacement of --

18 MR. MAJUMDAR: This is just for
19 applying--

20 DR. MUSCARA: He is not asking about
21 this one, he is asking in general if you calculated
22 the plate displacement support plate by support
23 plate?

24 MR. MAJUMDAR: Yes. The plate
25 displacement goes into the final analyses and is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 automatically calculated.

2 DR. MUSCARA: So what was the maximum
3 displacement that you noticed?

4 MR. MAJUMDAR: That is in the program,
5 but I didn't wrote it down. As I said, it is free
6 to bend as more tubes lock * into the number.

7 MEMBER BONACA: Was that the maximum?

8 MR. MAJUMDAR: Yes. That's at the
9 maximum point. At the maximum point --

10 MEMBER BONACA: For each support plate?

11 MR. MAJUMDAR: Yes. Yes.

12 MEMBER BONACA: What about the different
13 levels?

14 MR. MAJUMDAR: Depending on the
15 pressure, that was for one psi was .4.

16 MEMBER BONACA: Yes, you should have --
17 which is the list and that was .4 inches. I thought
18 that you would know or calculate also the most
19 displacement without --

20 MR. MAJUMDAR: But that displacement was
21 automatically calculated --

22 MEMBER BONACA: I mean a statement
23 during the DPO was made that a steamline break can
24 cause significant movement of the tube support
25 plates.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MAJUMDAR: Yes.

2 MEMBER BONACA: And we questioned what
3 does it mean significant then as well.

4 Now, here we're not seeing it because
5 we're assuming that there are a lot of locked tubes,
6 and we can believe that. Still, I'm left with the
7 question of what is the largest displacement I could
8 imagine of the tubes before break. Visually it
9 would help me understand what kind of solicitation
10 are imposed on that single tube --

11 MR. MAJUMDAR: Well, if you remember
12 that slide that I had with the .4 inches and put the
13 tube in, maximum displaced reduced by .4 to a .05 or
14 something like that. A big reduction.

15 MEMBER BONACA: That tells me that the
16 tube --

17 MR. MAJUMDAR: One tube --

18 MEMBER BONACA: -- is working very hard.

19 MR. MAJUMDAR: Very hard, yes.

20 MEMBER BONACA: But in the location what
21 about the highest plate, that was my question?

22 MR. MAJUMDAR: I don't have the number,
23 but there will be -- that was included in the
24 analyses that the load was transferred because of a
25 displacement on the TSP.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BONACA: I would like to have
2 that information. Is it in the report?

3 MR. MAJUMDAR: Yes, the displacement of
4 the tube support plate?

5 MEMBER BONACA: Yes.

6 MR. MAJUMDAR: Okay. I didn't pay too
7 much attention to the tube support plate itself. I
8 was concentrating more on the tubes.

9 MEMBER BONACA: Essentially is the
10 information equivalent for the highest plate to the
11 one provided on figure 13.

12 MR. MAJUMDAR: Okay. That's the highest
13 pressure on there.

14 MEMBER BONACA: Yes.

15 MR. MAJUMDAR: If no tubes are locked --

16 MEMBER BONACA: That's right.

17 MR. MAJUMDAR: No tubes are locked that
18 would be displacing by almost by 2 or 3 inches.

19 MEMBER BONACA: That's what I thought.
20 From a ratio --

21 MR. MAJUMDAR: Yes. Multiple .4 by 7
22 psi.

23 DR. MUSCARA: Like I said, be careful.
24 I know Westinghouse has done some evaluations on
25 this. You assume that they're not tie bars?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MAJUMDAR: No, the tie bars are
2 there.

3 DR. MUSCARA: And you expect 2 or 3
4 inches?

5 MR. MAJUMDAR: No. The tie bars are not
6 -- this is the maximum displacement. Three inches.
7 There are the tie bars and the Zahoor is based on
8 that.

9 DR. MUSCARA: I recall from the
10 Westinghouse work that they were discussing more the
11 range of a quarter of an inch displacement, even in
12 the worst -- which was larger than that?

13 CO-CHAIRMAN FORD: What is the 50 and
14 1,400? What is the numbers? Is that the distance
15 between the tube support?

16 MR. MAJUMDAR: Yes, that's the typical
17 distance within tube support plate.

18 CO-CHAIRMAN FORD: And the next position
19 where it is locked -- is that right?

20 MR. MAJUMDAR: That is the typical
21 distance between the tube sheet and the tube support
22 plate and the first one, or the first to second is
23 almost 45, 49 something like that.

24 CO-CHAIRMAN FORD: You say 1400 is?

25 MR. MAJUMDAR: No. This is just to show

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that our model if you put a very large length, then
2 that model coincide with the Zahoor model. Their
3 model is not providing any constraint.

4 CO-CHAIRMAN FORD: Okay. Okay.

5 MEMBER BONACA: Anyway, I would like to
6 have that information. Because, I mean, if it is 3
7 or 4 inches, I will -- you know, I feel that's
8 comfortable if I think about it.

9 DR. MUSCARA: Okay. But it's the same
10 question issue. Because 3 or 4 inches, it's a clean
11 tube which means there's no denting, there's no
12 cracking so we're not concerned about exposing a
13 crack.

14 MR. MAJUMDAR: But that strange with no
15 denting, no tube lock. All is free to slide. There
16 is no constraint to the motion.

17 DR. MUSCARA: We will look up the data.

18 MEMBER BONACA: For that kind of
19 displacement, I mean it is free to pull. All of
20 that to say is that, I mean, if the maximum
21 displacement as you calculate was a quarter of an
22 inch, then why we worry about the pull that you have
23 on the single tube, should you assume that? Because
24 at the most it would be very small. I mean, yes, I
25 mean there is -- but if it is several inches, then

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you have to think about that single tube. And I
2 know that there isn't going to be only one, but
3 anyway--

4 MR. MAJUMDAR: But the -- the load on
5 the upper TSPs, even though the lower TSPs don't see
6 any Δp , the loads from the upper TSPs is
7 transferred through the tube to the bottom.

8 MEMBER BONACA: Yes.

9 MR. MAJUMDAR: The tube see the whole
10 load.

11 MEMBER BONACA: Okay.

12 MR. MAJUMDAR: And so a crack in a
13 single tube lock in the first TSP, for example, I'm
14 plotting here the failure axial load was to the
15 circumferential -- through an angle that can be
16 tolerated without being unstable.

17 So for an upper bound dynamic load of 4
18 kips, that's the forces upper bound -- the tube
19 pullout load that we derive from * and the internal
20 pressure loading induced to 1.2. This is the end
21 cap loading that always happens when you apply an
22 internal pressure. And through wall cracks less
23 than 160 degrees. For example, this crack of 5.2
24 here. So any cracks less than 160 degrees will be
25 safe.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 If it is an average locking force of
2 2.7, it is easy to 210 degrees circumferential
3 through wall cracks. And a single tube locked at
4 all TSPs has a much higher dynamic loads but it
5 cannot tolerate a significant circumferential flaw.

6 MEMBER BONACA: Okay. That makes sense.

7 CO-CHAIRMAN FORD: Joe, could you remind
8 us as to when they're seeing circumferential cracks
9 what is the normal circumferential angle? I mean,
10 is there physically any reason of why it couldn't be
11 200, 300 degrees?

12 DR. MUSCARA: Yes, but there's a limit
13 on what's acceptable with respect to plotting. We
14 have seen -- degrees circumferential cracks.

15 CO-CHAIRMAN FORD: Okay.

16 DR. MUSCARA: Ken, do you want to add
17 something?

18 MR. KARWOSKI: The normal practice for
19 when a circumferential crack is detected is to plug
20 it on the *. In general, there is no utility in the
21 country that leaves known circumferential cracks in
22 service. With that said, people do observe
23 circumferential cracks after a cycle of operation,
24 but in general -- and I can only give you
25 generalities -- those indications are not -- you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have to look not only at the circumferential extent,
2 but also the depth. What they find is usually not
3 structurally significant. The angles can vary.
4 They're usually very short. You know, maybe more
5 like 90, 180 degrees. There are some that are
6 larger. But even when you get the larger
7 circumferential extents, they tend not to be through
8 wall.

9 And I think Saurin's analysis is based
10 on a through wall flaw for 210 degrees. And in
11 general we're not observing that type of flaw. So
12 you can't just look at the through wall -- or the
13 circumferential extent. You have to look at both.

14 DR. MUSCARA: Okay.

15 MR. KARWOSKI: And we're not finding 100
16 percent through walls flaws that are 210 degrees or
17 even 180 degrees.

18 MR. MAJUMDAR: Now, the most benign
19 cases is when all tubes are locked at all the TPSs.
20 And that gives the axial load is only 1.6 kips.

21 CO-CHAIRMAN WALLIS: How does that get
22 1.6? I mean, you showed us before that when you get
23 one you get --

24 MR. MAJUMDAR: Oh, these are all --

25 CO-CHAIRMAN WALLIS: -- fifteen and when

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you get two you get ten, and you get four you get
2 five. It's going down so rapidly I would think when
3 you get them all locked, it would go down to
4 essentially zero.

5 MR. MAJUMDAR: No. No. 1.6. We
6 already--

7 CO-CHAIRMAN WALLIS: How can it be so
8 big?

9 MR. MAJUMDAR: 1.6. We always had the
10 end cap load there.

11 CO-CHAIRMAN WALLIS: It's the end cap
12 load that does --

13 MR. MAJUMDAR: Always there plus the
14 tube load.

15 CO-CHAIRMAN WALLIS: But the transient
16 load is doing nothing.

17 MR. MAJUMDAR: No.

18 CO-CHAIRMAN WALLIS: The transient load
19 is doing nothing.

20 MR. MAJUMDAR: That's right --

21 CO-CHAIRMAN WALLIS: So 1.6 is the end
22 cap, which is always there.

23 MR. MAJUMDAR: No. 1.2 is the end cap
24 load. So this .4 -- if you follow -- if all the
25 TSPs are locked --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN WALLIS: Even when you have
2 3,000 of them stuck?

3 MR. MAJUMDAR: There's a lot of area
4 there.

5 CO-CHAIRMAN WALLIS: Yes, but it's going
6 down very rapidly from what --

7 MR. MAJUMDAR: Yes, but it doesn't go
8 down really low, but it kind of flattens out.

9 CO-CHAIRMAN WALLIS: It flattens out?

10 MR. MAJUMDAR: Yes.

11 CO-CHAIRMAN WALLIS: They're all sharing
12 the load.

13 MR. MAJUMDAR: Yes.

14 CO-CHAIRMAN WALLIS: But if it's 3,000
15 plus 1,000, it's a third of the load per tube?

16 MR. MAJUMDAR: Yes, but the tubes near
17 the tierod are affected by tubes near the supports.
18 All the tubes are not equal. Tubes near an existing
19 support, for example, near a tierod, the tierod is
20 already restraining the tube support plate, so that
21 tube doesn't do much.

22 CO-CHAIRMAN WALLIS: Okay.

23 MR. MAJUMDAR: They're not all equal.
24 Anyway, that load is so low that it can't even carry
25 along the cracks. We already deduced that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. MUSCARA: Through wall.

2 MR. MAJUMDAR: Through wall, yes.

3 CO-CHAIRMAN WALLIS: But the real thing
4 is you only need a few tubes to stick in order to
5 get within an allowable --

6 MR. MAJUMDAR: That's right. All we need
7 is ten. If you can do ten, I'll show it here.

8 For example, a pullout load of 4 kips
9 here, that's the upper bound pullout load. If you
10 have ten tubes locked, then you are basically down
11 below main load, 2 or 3 kips, and these are, tubes
12 are elastic.

13 CO-CHAIRMAN WALLIS: So the main load is
14 the fact that there is a pressure inside that gets
15 attached to the bottom --

16 MR. MAJUMDAR: There's a pressure, yes.

17 CO-CHAIRMAN WALLIS: -- and it starts to
18 push?

19 MR. MAJUMDAR: And this is actually --
20 yes. But this one is extruding end cap load. So
21 this will be end cap load will be added on top of
22 that. And the flawed forces is from here.

23 So the axial load decreases the
24 increasing number of locked tubes.

25 CO-CHAIRMAN WALLIS: See how rapidly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that's coming down. You'd think with a 1,000, you
2 wouldn't be above zero at all.

3 MR. MAJUMDAR: Well, there is some
4 residue over there.

5 CO-CHAIRMAN WALLIS: Okay.

6 MR. MAJUMDAR: Also with the increasing
7 number of locked tubes, the distribution becomes
8 more uniform -- and also there is some negative
9 pullout load, as I said before, because the pressure
10 changes sine in the lower TSPs.

11 And basically, if you have four tubes
12 locked, and then the actual load is about 7 kips
13 maximum. If you have ten tubes locked for a
14 quarter, then the maximum is about 3.

15 CO-CHAIRMAN WALLIS: And with 3,000
16 locked it's 1.6?

17 MR. MAJUMDAR: 1.4 with 2,000.

18 CO-CHAIRMAN WALLIS: Well, it says 1.6
19 here.

20 MR. MAJUMDAR: No, that's withdrawl
21 actually. The same thing if the pullout load is
22 2.7, you get a reduction in the loads, in the actual
23 load here and the tube pullout load.

24 Now, allowable crack angle from multiple
25 locked tube, you plot the maximum allowable crack

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 length in the tube support plate now. Now we're
2 assuming the full MSLB and including the end cap
3 loading. If you have only four locked tubes, we
4 said there was 7 kips of actual load on the -- and
5 the minimum cracking of 30 degrees on the high end.

6 If you have ten locked tubes, then you
7 can follow a much, much longer crack length. It
8 really gets -- the tolerance for circumferential
9 crack and it goes up as you lock more and more
10 tubes.

11 CO-CHAIRMAN FORD: Could I suggest, Joe,
12 it's now 4:00. You are about to start a new subject
13 and then go into a summary.

14 Could we take a quarter of an hour break
15 at this time?

16 DR. MUSCARA: Sure.

17 CO-CHAIRMAN FORD: And also to consider
18 whether to put off the iodine spiking until
19 tomorrow, when you're starting on 3.3, with the
20 artist's work, which is relatable to the iodine
21 spiking? Does that sound a good plan, or do you
22 want to do the spiking today?

23 DR. MUSCARA: The way today things are
24 going and the topics we're discussing tomorrow, I
25 think we'll have even more questions in discussion

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 tomorrow.

2 CO-CHAIRMAN FORD: Even tomorrow. Oh,
3 gosh. Okay.

4 DR. MUSCARA: So I think we need to try
5 and stay on schedule.

6 CO-CHAIRMAN WALLIS: I think the spiking
7 has two slides.

8 DR. MUSCARA: Well, I'm sure Michelle
9 will be very happy to cover it in a few minutes and
10 be finished.

11 CO-CHAIRMAN FORD: Okay. Well, let's
12 take a quarter of an hour. Be back here at 4:15 and
13 then we'll finish this and do the iodine spiking,
14 too.

15 (Whereupon, at 4:02 p.m. a recess until
16 4:18 p.m.)

17 CO-CHAIRMAN FORD: Okay. We're ready to
18 go into session again. We're about to go into the
19 accepted crack growth rate analyses.

20 DR. MUSCARA: Peter, there's one point
21 of clarification, maybe. We were talking earlier
22 about some bending forces on the tubes at the lower
23 section. Those were due to steamline breaking and
24 cross flow forces on the tubes. So in fact, it was
25 correct.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. KUPPERMAN: Let me just explain. I
2 don't think I brought all the documentation. But I
3 had forgotten because I did this model a while ago,
4 when I built the model there is an area right down
5 over here where you actually have the flow coming
6 down over like this and then back up.

7 MEMBER SIEBER: Right.

8 DR. KUPPERMAN: So this area right here
9 I actually did model across flow.

10 CO-CHAIRMAN FORD: Okay.

11 DR. KUPPERMAN: So you could calculate
12 forces cross flows on the tubes in that area.

13 CO-CHAIRMAN FORD: Okay.

14 DR. MUSCARA: And I guess without
15 spending a lot of time, the conclusion was that the
16 forces were small enough that there was not much
17 impact on bending --

18 MEMBER SIEBER: There is some kind of a
19 blocking device down in that center channel. Is
20 that modeled in or doesn't that make any difference.
21 Tube lane blocking device. It's called a tube lane
22 blocking device.

23 DR. MUSCARA: But I think those were
24 removed back earlier inservice.

25 DR. KUPPERMAN: The drawings I had is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 just straight.

2 MEMBER SIEBER: Just straight. Okay.

3 DR. MUSCARA: I think we had some
4 problems with those and they were eventually
5 removed.

6 MEMBER SIEBER: Well, I don't know.

7 DR. KUPPERMAN: So I'll check it out.

8 MEMBER SIEBER: I remember them being in
9 there years ago. That's where the blowdown line
10 used to be in that blocking device. You may be
11 right. It is probably a second order effect.

12 MR. MAJUMDAR: So anyway, if you take in
13 that, all those lateral pressure, the big bending
14 stresses on this 777 psi. So they're small.

15 Okay. Up to now we have considered only
16 a single application of the pressure pulse. The
17 question is what happens if there are multiple
18 peaks. But Bill Krotiuk's analysis show that there
19 is not many, many peaks, there are at most two peaks
20 and the pressure Δp goes down with time.

21 CO-CHAIRMAN WALLIS: This is a crack
22 growth rate, da/dN ?

23 MR. MAJUMDAR: da/dN , due to the
24 pressure pulse.

25 CO-CHAIRMAN WALLIS: We'll we've seem

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Ford data and other people's data that differs by
2 orders of magnitude from the correlation.

3 CO-CHAIRMAN FORD: It's not binding.

4 CO-CHAIRMAN WALLIS: Really? Oh, it's
5 GE data. I'm sorry. I thought Ford was associated
6 with one of those transient data.

7 MEMBER BONACA: No, this is a cyclic
8 data.

9 MR. MAJUMDAR: Yes, he's talking about
10 crack growth data.

11 CO-CHAIRMAN WALLIS: Oh, I'm sorry.
12 Okay. Yes.

13 MR. MAJUMDAR: Now, what is asked the
14 question even if the pressure calculation shows
15 there are no cycles, we are asked what if there were
16 number of cycled pressure pulse, how would a crack
17 respond to that cyclic load. So we computed the
18 cyclic crack growth using this standard equation and
19 using the ASME Code Section XI correlation. And
20 stress in terms of the fracture we calculated using
21 ΔK for part two of circumferential cracks using the
22 Zahoor correlation and through wall circumferential
23 crack from the ANL correlation. We used that ANL
24 correlation because without that effect the lateral
25 support, the driving force gets pretty large. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for a span of 15 inch between supports.

2 So I said the crack growth was first
3 done in the depth direction and then in the actual
4 direction, in the circumferential direction until
5 rupture was predicted. Rupture was predicted to
6 occur when either the uncracked section that
7 contains the crack reached a plastic collapse or by
8 jlc failure, just by drop collapse instability. In
9 most cases, the plastic collapse control the final
10 rupture.

11 CO-CHAIRMAN FORD: The scenario is that
12 the tube is pressurized?

13 MR. MAJUMDAR: Yes.

14 CO-CHAIRMAN FORD: You have the main
15 steamline break and you got this whack and then a
16 ringing?

17 MR. MAJUMDAR: Yes. Yes.

18 CO-CHAIRMAN FORD: Surely you did a
19 higher R ratio than zero?

20 MR. MAJUMDAR: Well, what I did, there
21 is a steady load and there is a cyclic load on top.
22 But I said I consider steady load as part of the
23 cyclic. That is more conservative than considering
24 R factor. We apply that in -- this is really more
25 conservative than using a smaller amplitude than is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in R factor.

2 CO-CHAIRMAN FORD: Okay. And that's a
3 conservative assumption?

4 MR. MAJUMDAR: Yes. Yes.

5 MR. MAJUMDAR: Because I'm putting the
6 whole thing in amplitude -- in the range.

7 CO-CHAIRMAN FORD: Okay.

8 MR. MAJUMDAR: Now, if this is a through
9 wall crack, if you look at this for different axial
10 cycling axial loads, 7 kips was for the full tubes
11 lock and 3 are 2 kips for the ten tubes locked. So
12 when you only have four tubes locked, we can see the
13 cycles to failure versus the initial through wall
14 crack leg. To there is about 30 degrees or so can
15 take several cycles, 8 or 9. If it's less than 30,
16 then we can take even more. So actually that's what
17 I'm just saying here, 75 cycles are required to grow
18 the crack from 29 degrees instability of 30 degrees.

19 So the growth rate prior to instability
20 on the order of .01 to .07 degrees per cycle. It is
21 small.

22 Now, that was for through-wall crack.
23 What if you have a part-through wall crack, usually
24 part-through wall crack.

25 CO-CHAIRMAN FORD: Sorry. Could you just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 go back to the previous one? I just want to make
2 sure I understand this graph.

3 Do I understand it if you have a crack
4 of 180 degrees or 150 degrees, two sigma, and you
5 rang two or three cycles --

6 MR. MAJUMDAR: Yes.

7 CO-CHAIRMAN FORD: -- then if you had a
8 axial load of 3 kip --

9 MR. MAJUMDAR: And this will be 4 kips.

10 CO-CHAIRMAN FORD: -- and you fail? Is
11 that right?

12 MR. MAJUMDAR: Yes.

13 CO-CHAIRMAN FORD: Okay.

14 MR. MAJUMDAR: You have 4 kips cycling
15 constantly and you have differing initial crack
16 size, question is how many cycles would that crack
17 take before it goes unstable.

18 CO-CHAIRMAN FORD: And failure is
19 defined as the crack grows all the way around the
20 tube?

21 MR. MAJUMDAR: When one cycle -- yes,
22 this is the failure limit.

23 CO-CHAIRMAN FORD: Okay.

24 MEMBER RANSOM: What is failure? You
25 already have a crack.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MAJUMDAR: And then we are in the
2 plastic, as I said, and the whole plastic collapse
3 of the remaining ligament or J1C type failure --

4 MEMBER RANSOM: So you wind with a burst
5 essentially?

6 MR. MAJUMDAR: No. Physically the crack
7 go to burst, yes, a one cycle burst, immediately
8 burst because in this case it will take 20 cycles --
9 more than 20 cycles to grow to instability side and
10 then it will burst. Whereas in this case you are
11 less -- starting with a smaller crack, take a 1,000
12 cycles to go and then rupture in a nonstable manner.

13 DR. MUSCARA: And you hardly have an
14 additional cycle probability from the load?

15 MR. MAJUMDAR: In actual application
16 there is only one cycle applied. But this is
17 assuming if you applied repeatedly how many cycles
18 could it take. So there's a lot of margin for crack
19 growth there.

20 Okay. Now, if you have part-through
21 wall crack, then there's some cycles you need to go
22 through the thickness before it starts propagating
23 in the axial circumferential direction. And in the
24 high axial load, 7 kips for examples, you have here
25 really plastic fracture mechanics where the tube is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 yielding, you don't buy much with the through
2 thickness growth of the crack. That is an initially
3 80 percent through wall crack versus 100 percent
4 through wall crack.

5 Now if it goes load/load, 3 kips and you
6 take about 20 cycles to grow that crack through the
7 thickness. And so you buy a lot of cycles, just
8 propagating the crack through the thickness before
9 it starts going along the circumference.

10 So basically, you get a lot of margin at
11 low axial load. If you have ten tubes locked, then
12 we have this kind of load. And if you have 14
13 locked, we have this kind of load.

14 CO-CHAIRMAN WALLIS: What cycles are you
15 talking about here? I mean --

16 MR. MAJUMDAR: This is a crack that is
17 not through wall.

18 CO-CHAIRMAN WALLIS: Yes, but what's
19 with the cycles? What are the cycles --

20 MR. MAJUMDAR: We're assuming that we
21 applying the same Δp that we applied --

22 CO-CHAIRMAN WALLIS: You have 20
23 steamline breaks?

24 MR. MAJUMDAR: Pardon?

25 CO-CHAIRMAN WALLIS: Isn't it just one

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 level. 20 steamline breaks? You're going to design
2 this thing for 20 steamline breaks?

3 MR. MAJUMDAR: No, not 20 -- this is how
4 many cycles will it take before the crack --

5 CO-CHAIRMAN WALLIS: It doesn't make any
6 sense. This is a one -- very rare event with only
7 one cycle.

8 MR. MAJUMDAR: One cycle, but --

9 CO-CHAIRMAN WALLIS: So who cares about
10 many cycles?

11 DR. MUSCARA: Well, he's giving us a
12 margin.

13 MR. MAJUMDAR: It's a margin. Supposing
14 there was some calculation error or something.

15 CO-CHAIRMAN WALLIS: You think if you
16 got a steamline break you will then say you don't
17 have to inspect your steam generator very carefully
18 and all that kind of stuff?

19 DR. MUSCARA: No. I think we're saying
20 you assume there's one cycle, but what if you're
21 running the calculation there were 20 cycles --

22 CO-CHAIRMAN WALLIS: Why would you ever
23 want to do that?

24 MR. MAJUMDAR: You don't watch, they
25 will burst.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN FORD: In this situation
2 you're only going to do it once, but margin would
3 have been the sigma, delta sigma you have to get to
4 before you have complete rupture of the pipe, this
5 K_{I_j} , I would have thought. That was the value
6 thought he was meeting a margin in this case. No?

7 MR. MAJUMDAR: Well in this case, the
8 margin is in terms of the number of cycles that you
9 would need to propagate an existing crack to the
10 point where the crack size becomes critical and you
11 get a --

12 CO-CHAIRMAN WALLIS: Seriously, this is
13 20 steamline breaks you're talking about?

14 MR. MAJUMDAR: No. Same tube --

15 CO-CHAIRMAN WALLIS: I think if you had
16 two steamline breaks, they'd probably shut down your
17 plant.

18 MEMBER SIEBER: No, it's a green. I had
19 seen a calculation at one time where the tube
20 support plates were treated as a membrane which had
21 an oscillatory effect. And if that were to occur,
22 you could rack up some cycles before blowdown is
23 completed. And so that's where this kind of a
24 calculation becomes important to me.

25 MR. MAJUMDAR: Yes. By the way, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 water is sloshing back and forth, they could have
2 had more cycles -- this has been existing or
3 something. Even it did --

4 CO-CHAIRMAN WALLIS: But this analysis
5 is based on one thing. And there's no sloshing --

6 MR. SHACK: The DPO Subcommittee was
7 worried about cyclic crack growth under some sort of
8 ringing loads. So we didn't have any idea what
9 ringing loads to you, so we picked the biggest
10 ringing load we could think of: the pressure pulse
11 at the main steamline break.

12 CO-CHAIRMAN WALLIS: But it doesn't --

13 MR. SHACK: And we demonstrated there
14 was margin.

15 CO-CHAIRMAN WALLIS: It detenuates in --

16 MR. SHACK: Yes, it does. But we were
17 trying to address the ACRS Subcommittee. We didn't
18 know what they had in mind, but we were going to
19 take the most conservative analysis we could come up
20 and demonstrate to them there was margin.

21 MEMBER SIEBER: During the DPO
22 presentations, we were shown --

23 CO-CHAIRMAN FORD: Boy, that guy is
24 bullshit isn't he?

25 MEMBER SIEBER: An analyses of tube

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 support plate that had nodes in it in cyclic loads.
2 So that's where the question came from. And this is
3 the answer.

4 MEMBER BONACA: No, what he talked about
5 was 4 tubes locked, he's assuming that they are
6 locked.

7 MR. MAJUMDAR: Yes. The loads would
8 depend on whether they are locked; whether 10 tubes
9 are locked or 4 tubes are locked.

10 MEMBER BONACA: They're not all
11 together? I mean, because --

12 MR. MAJUMDAR: Yes. The tubes when I
13 said there are 4 tubes locked, they're in a local
14 region. It's not one here, one there, one there.
15 It's in local region.

16 MEMBER SIEBER: And you're only
17 analyzing the quarter --

18 MR. MAJUMDAR: The quarter of. So it's
19 actually 16.

20 MEMBER SIEBER: So there's 16.

21 MR. MAJUMDAR: Actually it's 4 times
22 that. Yes.

23 MEMBER BONACA: Okay. All right. But if
24 you have one, you got four?

25 MR. MAJUMDAR: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BONACA: If you got 4, you got
2 16?

3 MR. MAJUMDAR: Yes.

4 CO-CHAIRMAN FORD: What I'm hearing
5 being discussed here is that you have developed the
6 methodology for determining the structural integrity
7 of these faulty tubes under various impulses. And
8 so you can apply it to any different definition of
9 margin that you may want to.

10 I noticed in the next slide you're going
11 into conclusions.

12 MR. MAJUMDAR: Right.

13 CO-CHAIRMAN FORD: But I was going to
14 ask item i, 3.1.i is conduct confirmatory tests.
15 Are there any confirmatory tests to back up --

16 MR. MAJUMDAR: As I say in my talk that
17 we did some tests on bending, so we know the bending
18 stress on the two blocks of pressures. So we got a
19 rather extensive series of tests where we supported
20 the tube on 15 span and then put cracks next to one
21 span, one welded in span and pressurized it. Did
22 the tests until rupture, the tube ruptured and
23 showed that in those tests bending stresses -- you
24 got the bending where hanging load from the middle
25 of the tube so the crack was subject to the bending

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 stress as well as the pressure, axial load in the
2 pressure.

3 All cases that we ran showed that the
4 bending stresses had very little effect on the burst
5 pressure. We had both subcrack and actual crack.

6 CO-CHAIRMAN FORD: Now is that the only
7 confirmatory tests that has been done on this model?

8 MR. MAJUMDAR: That is the only test we
9 did.

10 CO-CHAIRMAN FORD: And we haven't heard
11 that? I mean, this is something --

12 DR. MUSCARA: No, because you haven't
13 seen -- he just mentioned that he had done the
14 tests.

15 CO-CHAIRMAN FORD: Oh, I see. You
16 haven't even seen it?

17 DR. MUSCARA: The results are published
18 in the report that was used to run -- have we closed
19 out this action, Jim? So those results are
20 published in the report.

21 MR. MAJUMDAR: So you are preparing a
22 NUREG report on that. We just submitted it. Yes.

23 DR. MUSCARA: And I guess maybe the
24 other comment I would like to make, the reason we
25 only did the bending test validation is because the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 methodology we have been developing over the years,
2 it's already been proved and benchmarked and tested
3 on the predictions of tube burst and failures and
4 ruptures. The one item here we've done is the
5 additional bending. And so that, you know, we came
6 up with the analytical method and then ran some
7 tests to show that he could predict the test
8 results.

9 CO-CHAIRMAN FORD: I guess why I keep
10 hammering on is this so simple that this is a no
11 never mind? I mean, it is time and time again we've
12 been bitten in the behind by someone coming along
13 saying something occurred which we hadn't predicted.
14 And this is why I keep asking: Have there been
15 confirmatory tests? And what I'm hearing you say
16 is, yes, you've got one set on bending and there's a
17 whole pile of other stuff to back up this
18 methodology. Is that correct?

19 DR. MUSCARA: A lot of the analytical
20 stuff he's shown you has been developed over the
21 last two programs, ten years or so.

22 CO-CHAIRMAN FORD: Okay.

23 DR. MUSCARA: And it's based mostly on
24 testing and analyses.

25 Now what program is it --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MAJUMDAR: These were done with
2 answers, and this was done almost a year back. More
3 than a year back.

4 CO-CHAIRMAN FORD: Okay.

5 MR. MAJUMDAR: Using the elastic
6 analyses, so they're pretty standard. And this is
7 the best -- if one thing we know about stress
8 analyses, it we need an elastic analysis.

9 MEMBER BONACA: So your results are not
10 inconsistent with the claim that we have in DPO that
11 steamline break could result in fact in tremendous
12 forces and booming sounds and things of that kind
13 and they told us there was -- because of that
14 they're going to fail a lot of steam generator tubes
15 now. What I see here is that you have in fact
16 significant displacement of the plates, and you
17 have, potentially, but the tubes are able to
18 withstand or to limit those displacements without
19 failures. I mean, they're doing things that are not
20 inconsistent.

21 DR. MUSCARA: I think the analysis
22 showed that the forces weren't that large. The
23 forces were not that large.

24 MEMBER SIEBER: But there is a
25 conclusion that if you block just one tube, that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that tube will fail.

2 MR. MAJUMDAR: Yes. Yes. At least it's
3 a possibility to take circumferential cracking very
4 limited.

5 CO-CHAIRMAN WALLIS: But to make a tube
6 fail, you have to make some extreme assumptions?

7 MR. MAJUMDAR: Yes. Yes. That's right.
8 Plus get -- not on displacement to rupture tube. We
9 need a lot of displacement. If you don't -- there
10 were no crack in it, it will be impossible to
11 rupture the tube because we need displacements in
12 addition to loads.

13 MEMBER BONACA: The forces will not be
14 that large, but it will be sufficient to bend, I
15 mean unless there was locking, to bend those plates.

16 MR. MAJUMDAR: No, the plates will bend.

17 MEMBER SIEBER: That's for sure.

18 MEMBER BONACA: I mean that's a heck
19 transient. I mean --

20 CO-CHAIRMAN WALLIS: But they won't
21 because 3,000 tubes are locked into them. That's
22 what the difference could be.

23 MEMBER BONACA: I agree with that. For
24 the first time, I realize that cloud good, for some
25 reason.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CO-CHAIRMAN FORD: Joe, just to come
2 back to this confirmatory tests, in the NUREG-1740 I
3 think there is a statement in there to say that the
4 confirmatory tests on this task are crucial. That
5 particular task, 3.1.i has been completed you say.
6 And I did I hear you say it closed out? Does that
7 mean that there will be no more confirmatory tests
8 done on that, in this area?

9 DR. MUSCARA: That's right. I think we
10 concluded that the loads were small enough, and in
11 particular when it's shared by more than one tube,
12 that there wasn't anymore need for refinements for
13 additional tests.

14 I mean, the reason for the tests was to
15 benchmark an analytical procedure, and we've done
16 that. So we're able to predict the test results
17 before we ran the tests.

18 CO-CHAIRMAN FORD: Yes. And subtask J
19 and K, K has not been completed. It's not due to be
20 completed until next year sometime, 2005?

21 DR. MUSCARA: That's right.

22 CO-CHAIRMAN FORD: I guess the reason
23 why I keep on asking these questions is that we keep
24 hearing the words closed out. That doesn't mean to
25 say that work stops, does it?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. MUSCARA: I think the inputs pretty
2 much for this task are finishing up.

3 CO-CHAIRMAN FORD: Okay.

4 CO-CHAIRMAN WALLIS: Well, it's closed
5 out when NRR has enough information to make a
6 decision, isn't it? Otherwise you could go on
7 working forever.

8 MEMBER SIEBER: There you go.

9 DR. MUSCARA: I think we've closed out
10 the pieces we need to develop from the research
11 side. Now this information is going to be taken at
12 NRR with Steve Long to conduct his analyses. And
13 that point, based on whatever results he gets, we'll
14 conclude whether the issue is closed or not.

15 MEMBER SIEBER: Sooner or later you have
16 to close out the DPO, unless this is the way you're
17 going to conclude it. So, so far there hasn't been
18 anything presented that would invalidate the holding
19 space alternate repair criteria.

20 CO-CHAIRMAN FORD: Let me ask another --

21 MEMBER SIEBER: So that's in effect, and
22 remains valid.

23 CO-CHAIRMAN FORD: Let me ask my other
24 Commission members, being new to this particular
25 item. Since we wrote a report on the DPO issues,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are we part of the closeout decision process, the
2 ACRS?

3 Tom?

4 MEMBER KRESS: What did you say?

5 CO-CHAIRMAN FORD: Yes. I was asking
6 since we wrote a NUREG on the DPO process, are we
7 part of the formal closeout decision process or not?
8 I have no idea what the --

9 MEMBER KRESS: I would think we are.

10 CO-CHAIRMAN FORD: No.

11 MEMBER KRESS: You know, if we say
12 things like we shouldn't close this out yet and the
13 Commissioners agree with us, then we're part of it.

14 DR. MUSCARA: Yes. I think the ACRS
15 report we've developed the action plan. ACRS
16 reviewed that and said yes this will address our
17 recommendations and concerns. Now some of the
18 issues have become generic issues.

19 CO-CHAIRMAN FORD: Yes. Yes.

20 DR. MUSCARA: In that process you will
21 hear about how it is resolved. And we have a couple
22 of items that are generic issues which are also part
23 of the DPO that I think were developed in the
24 database to close them out, but we haven't gone
25 through the formal process to close them out

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 including going through the ACRS. And one of those
2 issues is the steamline break issue.

3 CO-CHAIRMAN WALLIS: But if the
4 regulatory part of this agency were to write a
5 letter to all these utilities and say we have
6 decided that you are allowed to assume 100 tubes are
7 stuck because they're pretty darn sure that it's
8 more like a thousand, that would close out
9 everything, wouldn't it, as far as this part of the
10 work is concerned? Because nothing is going to
11 happen.

12 DR. MUSCARA: Well, in my mind I think
13 that this is not an issue.

14 CO-CHAIRMAN WALLIS: But the whole thing
15 is it depends on how many tubes are stuck?

16 DR. MUSCARA: That's right.

17 CO-CHAIRMAN WALLIS: Whose going to
18 decide how many tubes are allowed to be stuck?

19 DR. MUSCARA: Right. And I think all we
20 can do is base it on engineering judgment and what's
21 reasonable. I think if you have a degradation
22 process it doesn't effect just one tube. And it
23 doesn't effect just a handful. Often it effects
24 many tubes. So we have a degradation process, many
25 tubes are locked and it's not a problem. If we do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 not have a degradation problem, the tubes aren't
2 locked and there's no load transfer to the tube.

3 CO-CHAIRMAN WALLIS: Somewhere between
4 this possibility that there might a period of time
5 when you had concern?

6 DR. MUSCARA: Not in my mind. At least,
7 you know, very small. Again, I don't see a process
8 just happening on one tube alone.

9 CO-CHAIRMAN WALLIS: But it would have
10 to be a new steam generator where the cracking
11 process somehow proceeds so rapidly that you get big
12 cracks before you stuck the tubes to the plates.

13 DR. MUSCARA: Yes. And, again, I don't
14 know how -- if you're talking about the support
15 plate, the cracking that occurs because the support
16 plate gets cruded up and the chemistry gets
17 concentrated and then it cracks, so if it's
18 happening to one tube --

19 CO-CHAIRMAN WALLIS: So it's really
20 stuck up?

21 DR. MUSCARA: -- it's happening for many
22 tubes.

23 CO-CHAIRMAN WALLIS: So it's already
24 stuck before it cracks? So forget it.

25 MEMBER SIEBER: I think the flaw here is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the fact that nobody wrote down what this assumption
2 has to be and justified it. Even if you justify it
3 on the basis of engineering judgment, it's not
4 written down. It's left to the reader to say, to
5 input that extra piece of information, you know.

6 DR. MUSCARA: Yes. I mean what's written
7 down is strictly recording the results.

8 MEMBER SIEBER: That's right.

9 DR. MUSCARA: When one now looks at this
10 issue, to close it out, I have to make an
11 assumption--

12 MEMBER SIEBER: But to close out the
13 issue you have to make an assumption. You have to
14 make an assumption about how many tubes are stuck
15 and what's the reason.

16 DR. MUSCARA: Precisely.

17 MEMBER SIEBER: And so we couldn't close
18 this out until somebody makes that assumption and
19 says here's the basis for our judgment that this is
20 okay.

21 DR. MUSCARA: Yes.

22 MEMBER SIEBER: It seems to me in the
23 question of how do you handle this, the NUREG report
24 that we wrote is no different in my mind than the
25 letter that we write to the staff for conclusions

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and recommendations and the staff writes back and
2 says we accept this, we accept this, we accept that.
3 We've done this work, here are the results. And they
4 send us something back which all of this is part of
5 that. And if we don't like it, we write them back.

6 DR. MUSCARA: Yes. And I should point
7 out that the action plan, again, is a living
8 document. We change it when we feel the need to
9 change it based on recent results.

10 MEMBER SIEBER: Right.

11 DR. MUSCARA: We can make a change in it
12 if we have a recommendation that's warrant in making
13 a change.

14 CO-CHAIRMAN FORD: Do you want to go
15 through your conclusions or do you want to take
16 those as read?

17 MR. MAJUMDAR: Well, if we can just
18 quickly go through that.

19 CO-CHAIRMAN WALLIS: I think most of
20 them have already --

21 MR. MAJUMDAR: Yes. Basically the bottom
22 line is at the end, I guess. We don't think there's
23 any need for additional TH analysis --

24 CO-CHAIRMAN WALLIS: Of course, the real
25 bottom line is there's no need for any additional

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fracture mechanics at this time.

2 MR. MAJUMDAR: Yes.

3 DR. MUSCARA: By the way, I'm not sure
4 how this last page --

5 CO-CHAIRMAN WALLIS: I mean, you haven't
6 evaluated the quality of the thermal hydraulic
7 analysis? How do you know there's --

8 MR. MAJUMDAR: We saw that Δp from the
9 industrial analyses that gave us almost the same--

10 CO-CHAIRMAN WALLIS: No need for
11 additional work either in thermal hydraulic analysis
12 or in --

13 MR. MAJUMDAR: There is no thermal
14 hydraulic analyses, there's no need for fracture
15 analysis.

16 CO-CHAIRMAN WALLIS: Okay. That's what
17 you think is the case?

18 CO-CHAIRMAN FORD: I would suggest that
19 what you're really talking about here is structural
20 integrity on the fracture mechanics. We're not
21 talking about -- you're using thermal hydraulics in
22 some cases, but you're not looking at all the
23 thermal hydraulics?

24 MR. MAJUMDAR: No, I'm not looking. I'm
25 just looking at the answer that came out of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 thermal hydraulic analyses.

2 CO-CHAIRMAN FORD: Sure. Which is only
3 a part of the whole.

4 CO-CHAIRMAN WALLIS: Now we have a form
5 to fill in in our packet here? Evaluation of
6 Training.

7 DR. MUSCARA: We're trying to find out
8 how good this course is.

9 CO-CHAIRMAN WALLIS: Evaluate it.

10 CO-CHAIRMAN FORD: Well, thank you very
11 much, indeed.

12 CO-CHAIRMAN WALLIS: Shall I throw it
13 away?

14 DR. MUSCARA: Yes, it's not meant to be
15 there.

16 CO-CHAIRMAN WALLIS: Well, let's see
17 what it says.

18 CO-CHAIRMAN FORD: Joe, are you going to
19 continue leading the final one today on iodine
20 spiking

21 DR. MUSCARA: Yes. I think I will Ms.
22 Michelle Hart, who is the lady to talk about what's
23 been going on with the iodine spiking issue.

24 MS. HART: My name is Michelle Hart. I
25 work in the NRR staff in the division of system

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 safety and analysis. And I'll be talking to you
2 about where we are on item 3.9 the iodine spiking.

3 As you know, in the DPO response the
4 ACRS Ad Hoc Subcommittee asked that we look for a
5 more technically defensible position on iodine
6 spiking. And the first item on the steam generator
7 action plan was that we go back and we look at the
8 data that already existed that was used before and
9 determine what that says, what that says to us.

10 And we've already completed that. And
11 the next item was to develop a response to the ACRS
12 recommendations, and that is almost complete.

13 We did look for more data on the iodine
14 spiking phenomenon for the steam generator 2 rupture
15 and main steamline type events. None additional was
16 found. So we went back to *Adams and Atwood, Adams*
17 *and Sattison* and we looked at the raw data. We
18 didn't look at the adjusted data that was used in
19 the conclusions. We looked at the data that was
20 taken from the plants' logs, pre and post trip
21 iodine concentrations in the coolant.

22 When we looked at the raw data we do see
23 that there is a higher spiking indicated, you know
24 post-trip iodine concentration in the coolant for
25 very small activity concentrations measured pre-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 trip.

2 We did not see that there was a clear
3 dependency on the rate of iodine spiking appearance
4 based on the pre-incident iodine activity.

5 MEMBER KRESS: Well, let me ask you
6 about that. The Ad Hoc Committee took that same
7 database and found a clear dependency. They have a
8 curve and they fit -- took the 95 percentile and had
9 a clear dependency on the pre-activity concentrate
10 rate. Did you just ignore that or did you decide it
11 was all right, or what?

12 MS. HART: WE did not ignore that. We
13 looked at the combined data and we eliminated what
14 were thought to be repeats of the same accidents,
15 you know, between the two studies.

16 And when we graphed the data, basically
17 it looked like there were two lines. There was like
18 a lower slope and then there was an upper slope.

19 MEMBER KRESS: We did the same thing,
20 the Ad Hoc Committee, and we decided an appropriate
21 regulatory position would be to take the one that
22 gave you the worst conditions.

23 MS. HART: Right.

24 MEMBER KRESS: Because you don't have a
25 mechanistic explanation for the reasons for these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 different populations.

2 MS. HART: Right.

3 MEMBER KRESS: So we took the worst one.

4 MS. HART: Right.

5 MEMBER KRESS: So we had a clear
6 dependency. We didn't understand some of the data,
7 but we were able to use a regulatory type look and
8 it seemed to me like that would be the way you ought
9 to go.

10 MS. HART: We determined because there
11 was that unknown quality; why are there two lines
12 like that? We didn't know what that meant.

13 MEMBER KRESS: Well, we didn't either.
14 We didn't either. We speculated that it might have
15 been because it wasn't failed tubes that the
16 constant line was some sort of trapped uranium or
17 something.

18 MS. HART: Right.

19 MEMBER KRESS: But we didn't go any
20 further than that. We said well, since we don't
21 know, we'll use the regulatory -- the way the
22 regulators always do and say we'll use the one that
23 gives us the worst.

24 MS. HART: Right.

25 MEMBER KRESS: Which you apparently

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 didn't do?

2 MS. HART: I do understand that.

3 MEMBER KRESS: Okay.

4 MS. HART: WE didn't determine that. We
5 didn't see that there was a reason why the
6 dependency existed. And we didn't see that --one of
7 the questions was that you get much higher spiking
8 at very low activities. And we didn't see like, you
9 know, a change in the curve or anything. We didn't
10 dispute your findings or anything like that. We just
11 didn't go that direction.

12 As you know, we currently use a mass
13 balance model. We don't know the mechanistic reasons
14 behind the spiking itself. And we determined that
15 for these very low preaccident iodine
16 concentrations, that you get an equivalent to what
17 our current standard assumption is, one like a Ci/gm
18 with a 500 times spiking for 8 hours, that you would
19 need a spiking factor of 50,000 times.

20 MEMBER KRESS: Yes, I think that's
21 reasonable approach. Let me ask you something about
22 that particular bullet.

23 If you use the 1 uCi/gm, which is sort
24 of a tech spec value and the 500 spiking factor that
25 you kind of use with that, how close are you to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 dose limit?

2 MS. HART: It does depend on the site,
3 definitely it does. But for a site that is right up
4 on the limit, we have a lower acceptance criterion,
5 it's not the full Part 100 for full Part 50-67, it's
6 ten percent of that. So you would be 30 rem thyroid
7 for the traditional source term, and 2.5 rem teddy
8 for the alternative source term.

9 MEMBER KRESS: How close were you to
10 that?

11 MS. HART: Well, that is this, that is
12 that 31 thyroid.

13 MEMBER KRESS: So you're close to a
14 factor of ten below it?

15 MS. HART: Right, below the Part 100
16 limit. And that's what our regulatory acceptance
17 criterion are for these plants. They all have to
18 meet that.

19 MEMBER KRESS: Well, if you take the 1
20 uCi/gm and the curve that we used to get the spiking
21 factor --

22 MS. HART: Right.

23 MEMBER KRESS: -- and you assume 500 to
24 get something like a thousand. If you use that,
25 would that still put you up to the limit?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. HART: For the same plant with the
2 same meteorology, no, you would be above that
3 regulatory limit. But you would not be above the
4 Part 100 limit.

5 MEMBER KRESS: Well, I'm beginning to
6 worry now that your margins -- if you use reasonable
7 values for these spiking limits -- let me ask you,
8 your 500 times, I recall included the Δp correction
9 because the main steamline break has a faster and
10 bigger Δp than the database has.

11 MS. HART: Right.

12 MEMBER KRESS: And you used the square
13 root kind of maximum Δp or something like that?

14 MS. HART: To tell you the truth, I am
15 not sure. Nobody was able to tell me the provenience
16 of the 500, unfortunately, before this meeting.

17 MEMBER KRESS: Well, the question I was
18 going to ask is if you used square root of the Δp
19 and a reasonable spiking factor out of our
20 correlation, and your dose calculation, how close
21 then would you be to the acceptance value? And
22 another question I was going to ask is what's the
23 basis of the square root of Δp ? I'm sure that's
24 the speculation that the velocity -- that Δp is a
25 promotion on velocity square across the clad or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 something. But I'm not sure I know the basis of the
2 square root of $\hat{\Delta}p$. And is it just an
3 unsubstantiated hypothesis or have you made tests to
4 show that -- or you have data to show that this
5 really would be the case?

6 MS. HART: To tell you the truth, I
7 don't even know about the square root of $\hat{\Delta}p$ myself.

8 MEMBER KRESS: I'm really concerned
9 about your iodine spiking because it looks like it
10 hasn't been -- that our problems with it haven't
11 been really addressed very well. I'm really
12 concerned about that. And it also looks like that
13 you could possibly be bucking up against the dose
14 limits if you use numbers that I think probably are
15 reasonable based on the correlations that we
16 presented in the Ad Hoc report.

17 MS. HART: I don't know if that is the
18 case. I can say that when we looked at the data that
19 was given, of course it doesn't relate to main
20 steamline breaks. And, as I said, we didn't --

21 MEMBER KRESS: It's the transient.

22 MS. HART: Right. We couldn't find any.
23 There's been nothing done on that.

24 MEMBER KRESS: We all recognized that,
25 that it's only --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. HART: Right.

2 MEMBER KRESS: You know, I haven't seen
3 this reevaluation of the database. All I have is
4 what we did when we had back when the DPO was being
5 looked at. And I didn't see much you could with
6 that except use it as is. I don't know what your
7 reevaluation did, but I'd kind of like to hear more
8 about what you did to reevaluate the database.

9 MS. HART: The reevaluation looked at
10 the pre-imposed accident iodine concentrations. And
11 there was some work done to try to determine what
12 the iodine appearance spiking factor would be, try
13 to back that out. And that effort was abandoned and
14 we went purely based on the before and after iodine-
15 -

16 MEMBER KRESS: Concentration.

17 MS. HART: -- concentration. And based
18 that -- and looked at how our current model does
19 that.

20 MEMBER KRESS: Trying to get the rate
21 and spiking factor?

22 MS. HART: Right. And looked at our
23 current mass model -- mass balance model and
24 determined that it was conservative from our point
25 of view, that for the --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: I'd have to see that
2 before I can comment on it. And that you a
3 different view of the correlation between the
4 spiking factor and concentration when you did that?

5 MS. HART: It didn't really give us an
6 idea of what this -- you know, if there is a spiking
7 factor based on the appearance rate. It didn't
8 really show us what that correlation would be. It
9 would show us -- let's say, for instance, you're
10 talking about the trapped uranium appearing or
11 trapped iodine actually appearing. Iodine coming
12 out through a, say, a break in the fuel or
13 something. The appearance rate spike would not be -
14 - would not capture that. And for the very low
15 concentrations you have a very low appearance rate.
16 And so you get one atom of iodine out, that's going
17 to cause your appearance rate to look very huge.

18 And so when we looked at it from that
19 perspective, it's not --it's not going to really
20 show you the real picture.

21 MEMBER KRESS: -- by the fact that it's
22 low concentration in the first place.

23 MS. HART: Right. Right. Right.

24 MEMBER KRESS: These slides don't really
25 do it for me. I really don't understand why you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 didn't make some use of our look at the spiking
2 factor versus concentrations because --

3 MS. HART: Well, the direction we were
4 given was to go out on our own and look at it from
5 our perspective.

6 MEMBER KRESS: Yes. I understand that.

7 CO-CHAIRMAN WALLIS: Well, if you look
8 at your conclusion slide, the next one, it says "The
9 staff thinks that the current modeling regime is
10 conservative."

11 MEMBER KRESS: See, and I'm questioning
12 --

13 CO-CHAIRMAN WALLIS: And I think that
14 the ACRS Subcommittee looked at the data and said
15 maybe this isn't conservative and you need to be
16 more careful. And I don't see you've refuted their
17 claim there. You seem to have a sort of an argument
18 about why it's conservative, but it hasn't really
19 refuted the analysis that my colleagues did. So
20 this looks like another one of these presentations
21 which is all words and no analysis or no evidence,
22 or something.

23 I mean, how do you refute the
24 Subcommittee's conclusions that maybe there was a
25 problem here?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. HART: We looked at the data and we
2 didn't think there was a problem.

3 CO-CHAIRMAN WALLIS: Yes, but that
4 doesn't tell me anything. It doesn't tell me how
5 you thought.

6 MR. DOWNIG: This is Bob Downig, the
7 section chief for the section that Michelle's in.

8 I think that if what you're hungering
9 for is the underlying analysis, I think --

10 CO-CHAIRMAN WALLIS: And the rational.

11 MR. DOWNIG: -- we'll be providing the
12 plots and so on and so forth and what was done.

13 As far as the approach, as I understand
14 it the alternative approach is not a mechanistic
15 one, it's what you termed a regulatory approach
16 taking the worst case looking at the data, drawing
17 the line as high as you could, or whatever, as
18 opposed to where we draw the line. I just want to
19 understand what the alternative is that we're
20 bouncing up against.

21 MEMBER KRESS: Yes. We thought if we
22 disregard anomalous part that didn't -- and when we
23 correlated it with the -- and took the 95
24 percentile, we said we can find for different
25 concentrations of iodine at the 95 percentile level,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we think there's spiking factor. You take that
2 spiking factor and you say now do something about
3 the $\hat{\Delta}p$. And we had no other way to scale it with
4 the $\hat{\Delta}p$ other than what you did. So we went ahead
5 and said well let's take that and multiple it by
6 about a factor of ten.

7 If you take our value for the 95
8 percentile concentration at the one uCi/gm level,
9 take that spiking factor, adjust it by this factor
10 of ten, it looks to me like you might get a dose
11 that exceeds the 10 CFR 100.

12 I don't have a dose calculation either,
13 and if that's plant specific, so I had to kind of
14 guess at that possibility. But it looked to me like
15 that would be something you might want to do. And
16 it looked to me like you might become opposed to the
17 dose limit. I don't know if this is an appropriate
18 approach or not, but that's what was bothering me
19 about the whole thing.

20 MS. HART: Okay.

21 CO-CHAIRMAN FORD: Okay?

22 We'll be discussing tomorrow you know,
23 some of our recommendations at our meeting, which I
24 don't doubt, on Thursday that is -- presentations on
25 Thursday. And I don't doubt that this will be one of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the issues at that meeting again.

2 Are there any other comments from the
3 members on today's issues? We'll be talking about
4 them overall tomorrow, at the end of the meeting
5 tomorrow, but --

6 CO-CHAIRMAN WALLIS: About the
7 presentations, we say this over and over again and
8 sometimes the staff will listen. But slides that
9 are full of words don't help us very much. But one
10 or two slides with really good data and evidence
11 helps tremendously. Why don't we have presentations
12 that have data in them, pictures, points on graphs
13 or analysis of something that proves the point
14 instead of all these words? And we've said that
15 many times before.

16 CO-CHAIRMAN FORD: Well, we see that the
17 data, those that did conform to that did better.

18 Joe, all the presenters, thank you very
19 much, indeed, for the presentations today.

20 Look forward to seeing you all at 8:30
21 tomorrow. Thank you.

22 We're adjourned until 8:30 tomorrow.

23 (Whereupon, the Joint Meeting was
24 adjourned at 5:04 p.m.)

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701