

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
Thermal-Hydraulic Phenomena Subcommittee
OPEN SESSION

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Thursday, January 15, 2004

Work Order No.: NRC-1252 Pages 179-222/322-379

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

SUBCOMMITTEE ON THERMAL-HYDRAULIC PHENOMENA

+ + + + +

THURSDAY,

JANUARY 15, 2004

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Subcommittee met at the Nuclear Regulatory Commission, Two White Flint North, Room T2B3, 11545 Rockville Pike, at 8:30 a.m., Dr. Graham Wallis, Chairman, presiding.

COMMITTEE MEMBERS PRESENT:

GRAHAM B. WALLIS, Chairman

RALPH CARUSO, ACRS Staff

F. PETER FORD, Member

THOMAS S. KRESS, Member

GRAHAM M. LEITCH, Member

VICTOR R. RANSOM, Member

STEPHEN L. ROSEN, Member

JOHN D. SIEBER, Member

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ACRS STAFF PRESENT :

2 AMY CUBBAGE

3 JIM HAN

4 WILLIAM KROTIUK

5 RALPH LANDRY

6 SHANLAI LU

7 MARCOS ORTIZ

8 DAN PRELEWICZ

9 MUHAMMAD RAZZAQUE

10 UPENDRA "KUMAR" ROHATGI

11 JOE STAUDENMAIER

12 ED THROM

13

14

15

16

17

18

19

20

21

22

23

24

25

NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

C O N T E N T S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

PAGE

Confirmatory Calculations, Shanlai Lu 182

Phenomenological Capability of the 322

TRACG code for LOCA

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 P-R-O-C-E-E-D-I-N-G-S

2 MS. CUBBAGE: Mr. Chairman, I think we
3 could open now for the conclusions.

4 DR. WALLIS: We now can open. What you
5 are now going to say is open to the public. Yes.
6 Okay. We're now in open session. Thank you very
7 much. It says "Proprietary Information."

8 MS. CUBBAGE: I overruled him.

9 MR. LU: Yeah, that's Microsoft issue.
10 Thanks for Bill's presentation. Actually, that was --
11 the containment model was built to support us, and
12 without that model we cannot do the calculation. I
13 just want to give a quick summary and jump into the
14 conclusions and funding.

15 We ran about 28 independent analysis
16 cases. All we gave to you as a presentation this
17 morning, as Ralph said, was a snapshot. Okay. We ran
18 many sensitive cases to nominal base case provided by
19 GE, and we did change a lot of parameters and analysis
20 scenario, and added the feedwater system, assuming
21 forfeit available for MSLB.

22 We identified many issues through this
23 review process, and reiterated with the document
24 reviewers, and then we issued many RAIs. Okay. At
25 this point, all major issues have been resolved, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 our conclusion based on our confirmatory analysis, we
2 believe that for the most limiting ECCS LOCA TRACG is
3 capable to analyze that. And also, it has the
4 capability to analyze the peak containment pressure
5 for my MSV LOCA case. It's bounding and realistic
6 too.

7 New issues to be resolved before FSER, I
8 think that's lumping, and to point it out, since we
9 still have that update --

10 DR. WALLIS: Let's go back to this
11 conversion here.

12 MR. LU: Okay.

13 DR. WALLIS: TRAC is capable of analyzing
14 and calculating. Of course it is, that's what it
15 does.

16 MR. LU: Yes.

17 DR. WALLIS: But what you really have to
18 say is that it does it in some adequate or good enough
19 way. I mean, it's capable of analyzing. That's what
20 it does.

21 MR. LU: Oh, yes.

22 DR. WALLIS: So first say something
23 qualitative about the quality of this work, what it
24 does.

25 MR. LU: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: Shouldn't you just say within
2 acceptable accuracy, or with an acceptable uncertainty
3 or some --

4 MR. LU: Yes.

5 MR. ROSEN: Or as badly as TRACE?

6 MR. LU: TRACE is good too.

7 MR. ROSEN: Or as good as TRACE? Well,
8 you don't know. They go through the same -- similar
9 answers, but they both could be wrong. Right?

10 MR. LU: Okay. Yes, that's --

11 MR. ROSEN: I'm just asking a very serious
12 question here.

13 MR. LU: Sure.

14 MR. ROSEN: And then the serious question
15 is if two things give you the same answers, does that
16 mean that answer is right?

17 MR. LU: If you look at the code we are
18 using right now, that's the reason I want to mention
19 right at the beginning, the reason we want to use
20 CONTAIN Code, the model containment, which provides
21 the feedback to your pressure vessel could model the
22 PCCS, and also model the GCS pool, which calculated
23 the gravity-driven pressure there, which is totally
24 different from TRACG Code, totally different numeric
25 scheme, totally different physics model. And also, if

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you look at the TRACE code internally, it's totally
2 different from TRACG now. There is now AIA. There is
3 no small core memory and mapping to the large core
4 memory.

5 MR. ROSEN: And so those two give you the
6 same answer, and I say that's a coincidence.

7 MR. SIEBER: It's the test data that makes
8 the difference.

9 MR. LU: Yes. But at this point, we
10 cannot really say TRACE is the code, which calculated
11 results, and based on the results we gave the
12 position. We did not do that. We used TRACE as a
13 tool to give us the --

14 MR. ROSEN: Hold on.

15 MR. LU: Okay.

16 MR. ROSEN: You're too close to this. The
17 serious question here is if two methods give you the
18 same answer, you conclude that the answers must be
19 right. I conclude that it's a coincidence, but to
20 avoid that you have to benchmark with some third
21 method, or something that's incontrovertible, maybe
22 along the lines of your gravity preservation.

23 MR. LU: Right.

24 MR. ROSEN: That these answers are both
25 correct, or physically reasonable. You have to peg

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this somehow.

2 MR. KRESS: When you benchmark a code, you
3 normally do things like run it against analytical
4 solutions, easy things. You do all that to each code.
5 And also, if you have two current and they're
6 independently developed by independent people, and
7 they give pretty much the same answer, that's not
8 exactly -- I wouldn't say that's coincidental. My
9 first impression was not -- that's not a coincidence.

10 DR. WALLIS: But it could be just a simple
11 problem, and everybody is going to get the same
12 answer.

13 MR. KRESS: It could be that.

14 DR. WALLIS: It could be that, in fact,
15 this thing works so well that's insensitive to all
16 these assumptions, and just two buckets of water with
17 a pipe, and all this other stuff is --

18 MR. KRESS: And that's probably pretty
19 much the case for this nice reactor design.

20 DR. RANSOM: Well, you have to couple that
21 with the assessment that's been done, which gives you
22 assurances that again these things are correct
23 physics. In fact, I don't know - can't you derive
24 some information from your PSTF comparison in terms of
25 whether or not this is conservative or unconservative?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LU: Yes, that's I think the last
2 line. There is proper application precision needs to
3 be provided, and I think that's -- I forgot exactly.
4 Proper application procedures are needed. That means
5 the -- I'll tell you the truth. I don't really
6 believe that every single -- no code can really
7 mechanics remodel what's happening inside of the
8 suppression port, the stratification, condensation
9 very well. There is no code where it can do that.
10 That's the reason --

11 DR. RANSOM: You said that they were
12 bounded or --

13 MR. LU: Yes, we were bounded.

14 DR. RANSOM: Then I think that's a little
15 more conclusive, if you can say that. From some of
16 the assessment it does appear to be conservative.

17 MR. LU: Yes, you're right.

18 DR. WALLIS: But you can't just make this
19 statement. You've got to say something else.

20 MR. LU: Okay.

21 DR. WALLIS: You get in trouble here. I'm
22 sure Ralph is going to word it right. If you start
23 saying things like TRAC is capable of analyzing HS
24 LOCA with acceptable accuracy and uncertainty, then
25 I'm going to come right back and say what's your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 measure of accuracy and what's your measure of
2 uncertainty.

3 MR. ROSEN: And I'm going to come back and
4 say something like you need to put in there, and it is
5 benchmarked against hand calculations that are
6 incontrovertible, and can reproduce those hand
7 calculations.

8 MR. KRESS: Well, that's almost implied in
9 there.

10 DR. WALLIS: Well, it is capable. I mean,
11 it doesn't say anything. I'm capable of running a
12 mile, but I couldn't race a mile, so I mean, there's
13 all kinds of things.

14 MR. KRESS: I agree with you on the way
15 it's worded.

16 MR. CARUSO: I'm not sure it's implied.
17 I thought Ralph actually explained it yesterday, and
18 we're forgetting this, that they're using the CSAU
19 methodology to do this. And the CSAU methodology is
20 what contains all these elements that you're talking
21 about. There's comparison against data, the
22 validation of the models, the interval experiments,
23 the interval experiments against data, the reasonable
24 test.

25 MR. ROSEN: Reasonable test.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CARUSO: That is all in that whole
2 thing.

3 DR. WALLIS: So you can say TRACG meets
4 all the criteria CSAU --

5 MR. CARUSO: That's what they should be.
6 And I'm not going to say this for them, but that's
7 what I would expect them to say.

8 MR. SIEBER: Well, that's the way the SER
9 is written.

10 MR. CARUSO: That's what the SER says.

11 DR. WALLIS: Okay. So it's just that the
12 slide is --

13 MR. LU: But this summary is really a
14 summary for the part we are -- for the staff
15 independent analysis part. It's not the final summary
16 for the entire --

17 DR. WALLIS: Well, we all know that -- we
18 knew that three was true before we even walked into
19 the room. Now the question is, is it acceptable? Are
20 there some features of it which are acceptable? You
21 have to qualify it and say there's other features that
22 are not, and so on. It's not a simple matter.

23 MR. LU: I agree. But the reason I did
24 not get into that, because that is the only part of
25 the analysis we can derive that conclusion. This is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 only part of the evidence I provide to you. And the
2 document review, and other part TAPD, which is a part
3 of the review process too, so that's the reason I
4 don't want to jump that one yet. And Ralph will give
5 you the final conclusion after I finish my part.

6 DR. RANSOM: Well, another part of this is
7 the use of the PUMA data, which should provide another
8 assessment for whether or not these are reasonable.
9 And I'm wondering, does the NRC plan to do that at any
10 time?

11 MR. LU: From NRR side, we don't have any
12 plan. But Research has planned to benchmark their
13 TRACE Code, assess their TRACE Code.

14 MR. KROTUIK: This is Bill Krotuik. I'm
15 currently in the process of using the coupled TRACE
16 CONTAIN Code to analyze PUMA tests. I'm in the
17 process of doing that.

18 DR. WALLIS: The old SBWR?

19 MR. KROTUIK: The old SBWR.

20 DR. WALLIS: I think that would be a good
21 thing to do, definitely.

22 DR. RANSOM: Although, they've run tests
23 I think now with the new coupling, I think. Right?
24 So it more appropriately simulates the ESBWR?

25 MR. KROTUIK: Yes. The new coupling is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the update of the old coupling that was used for the
2 AP1000, and now it has valves reverse flow and it
3 determines whether it's liquid flow only, for gaseous
4 flow, or two-phase flow. There's a lot more logic to
5 it right now.

6 DR. RANSOM: The AP1000, what was that
7 about?

8 MR. KROTUIK: Well, in other words, there
9 was a coupled TRACE CONTAIN analysis done on the
10 AP1000, but that was -- on those type of plants you're
11 only looking about flow in one direction, but now we
12 can look at the possibility of getting flow in either
13 direction, which added more logic to the coding.

14 MR. LU: Anyway, the PUMA data will be
15 helpful for --

16 MR. LANDRY: If I may, this is Ralph
17 Landry from NRR again. With regard to PUMA, the PUMA
18 facility, as we've said throughout the presentations,
19 is a facility that is being designed and operated to
20 provide confirmatory information to the Office of
21 Research. We have not asked General Electric to
22 participate in calculation of the test data, because
23 one, the tests were not expected to be done before we
24 were planning on being done with the code review. And
25 two, because we are not aware of the QA Program, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 if the QA Program matches the requirements that we
2 would impose on an applicant using test data for
3 assessment purposes. If there's not a QA Program in
4 place that would meet Appendix B requirements, we
5 cannot impose use of those data for assessment, and
6 judge the licensing applicability of the methodology
7 against those data. That's the very reason we have
8 stated that PANDA-P test cannot be used for assessment
9 purposes, so there are multi-faceted reasons why PUMA
10 is not being used for assessment of the applicant's
11 code, but it is going to be used for assessment and
12 confirmatory analyses with an NRC code.

13 DR. RANSOM: That's all you'd want, I
14 think. But it provides a cascading of conclusions,
15 you know. If you conclude that TRACE is okay, and
16 TRACE agrees with TRAC, then you can conclude
17 something about what TRACG is capable of.

18 DR. WALLIS: But, Ralph, this is an NRC-
19 sponsored experiment, PUMA. It's conceivable to me
20 that you approve TRAC and say it's wonderful based on
21 QA experiments and all that, and then someone makes a
22 comparison with PUMA and says wait a minute. TRACG is
23 way off.

24 MR. LANDRY: But we're not running TRACG
25 against PUMA.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: But when you do.

2 MR. LANDRY: But we won't.

3 DR. WALLIS: You refuse to do it?

4 MR. LANDRY: It's not our responsibility.

5 The TRACG has been compared with a number -- TRACG has
6 been compared against TRACE for a number of
7 calculations. TRACE will be compared with PUMA. Now
8 if we see that we say TRACG and TRACE are doing
9 comparable work, and we say that TRAC - and this is
10 what Vic was just saying - if TRACG - excuse me, too
11 many TRACs here. I'm getting off the TRAC here. If
12 TRACE does an acceptable job of comparison with PUMA
13 test results, we would expect TRACG to do so also.

14 DR. WALLIS: You are not allowed to run
15 the TRACG which you have against data which you have,
16 which the public paid for? You're not allowed to do
17 that?

18 MR. LANDRY: Well, we could ask General
19 Electric if they would like to.

20 DR. WALLIS: You're not allowed to do
21 that.

22 MR. LANDRY: But we are going to make a
23 determination with regard to TRACG prior to the PUMA
24 material being available.

25 DR. WALLIS: Well, that's all right. It

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 may be that they're such good guys, they'll do it
2 anyway.

3 MR. LANDRY: We're not basing an
4 acceptance of a code on one test facility. Our basis
5 for acceptability is all of this material that we
6 presented the last two days, the material which
7 General Electric presented in July, all the
8 documentation which they have prepared, and the
9 documentation which we have put forward in the draft
10 SER. And what Shanlai is saying here is, his
11 conclusion is a conclusion looking at analyses,
12 confirmatory analyses. Our conclusion overall though,
13 is based on all of this information brought together.

14 DR. WALLIS: It's based on neglecting the
15 PUMA.

16 MR. LANDRY: Well, PUMA is not available
17 right now.

18 DR. WALLIS: But you understand what I'm
19 saying.

20 MR. LANDRY: Yes, I understand.

21 DR. WALLIS: It seems very strange to me.
22 I mean, suppose you had something like the Loft Test,
23 very extensive and used for PWRs in the old days, and
24 it turned out that GE - it didn't meet some
25 qualification that GE would require for data or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 something, you couldn't use them. It's absurd.
2 That's the case. Someone slipped up and didn't quite
3 fulfill the right QA requirements to meet GE's specs
4 or something, or GE wasn't involved; therefore, you
5 can't use it. Is that the case?

6 MR. LANDRY: There's more involved in it.
7 That was only one point I was bringing up with it.
8 That's not the only reason.

9 DR. WALLIS: Well, maybe there won't be
10 any control -- GE are good guys, and they're going to
11 test against everything available. But you're not
12 going to make these data available to the --

13 MR. LANDRY: I can't speak for the Office
14 of Research.

15 MR. HAN: This is Jim Han. I was the
16 first PUMA Project Manager. Let me say a few words
17 about the old PUMA data for SBWR. First, it does not
18 meet the Appendix B QA requirement, number one.
19 Number two, during the test we find out the vessel had
20 leakage. Is a long story - okay. So in other words,
21 at this point, I'm kind of in support of what Ralph
22 stated earlier regarding the PUMA test data.

23 DR. WALLIS: So this failure to meet QA
24 makes it a waste of money to have supported the work
25 in the first place. Is that the case?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HAN: Well, as you know, the
2 University Standard is less stringent compared --

3 DR. WALLIS: In some ways, it's more
4 stringent.

5 MR. HAN: And QA, there's one standard.
6 It just so happens when -- this is a long story. When
7 view the PUMA facility we followed the code. For some
8 reason, the material used due to certain limitation,
9 caused the vessel to leak, so later on they replaced
10 the vessel. Okay. That's all.

11 DR. WALLIS: So this won't happen with the
12 new PUMA experiment?

13 MR. HAN: It should not happen in the new
14 PUMA experiment because of we already learn a lesson.
15 This is not produced for -- there was a problem with
16 the code regarding either the boiler or the pressure
17 vessel.

18 DR. WALLIS: Not the thermal hydraulics
19 code.

20 MR. HAN: No, is not hydraulic -- is not
21 Vic Ransom's fault. Vic was one of the persons in
22 charge.

23 MR. KRESS: But those kind of standards in
24 the QA are to be sure that you don't have failures in
25 the equipment, and that the equipment works correctly.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 It doesn't invalidate the data if everything happens
2 to work well. Can't you still use the data, even
3 though it doesn't meet the QAs?

4 DR. RANSOM: I would say so. The leaks
5 are rather minor. They were probably equivalent to
6 the control rod drive leaks that we've seen.

7 MR. KRESS: It looks like it would be a
8 good test.

9 DR. RANSOM: A fraction of one percent.
10 So I don't think that invalidated the data.

11 MR. KRESS: That would be my thinking.

12 MR. LANDRY: Well, yes. The data are
13 still there, but where you get into difficulties, when
14 you attempt to assess uncertainty and establish biases
15 on data that you don't have the providence for, that
16 you would expect for a good uncertainty analysis. And
17 that's the purpose of the QA, to establish the
18 providence on the data to show that we can -- we
19 understand the uncertainty, and we can use those data
20 sets with a confidence level on the uncertainty.

21 DR. WALLIS: Well, I'm very surprised,
22 because I see in this presentation, and I saw one two
23 days ago, they put up something and they say they
24 compare with Dartmouth data. Now nothing could be
25 worse than the QA that we have at Dartmouth, except

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that it meets the professor's standards. It doesn't
2 meet anybody else's standards, and probably never
3 will. So what is it doing ever appearing on a slide?

4 MR. KRESS: And everybody knows Dartmouth
5 professors have low standards.

6 DR. WALLIS: Yes, so what is it ever doing
7 appearing here?

8 MS. CUBBAGE: I'd like to say something.
9 Amy Cabbage. If we felt that there was any deficiency
10 in the data that GE was presenting in support of their
11 design, they would have to do additional testing. We
12 would not rely on NRC tests.

13 DR. WALLIS: What I object to is rejecting
14 PUMA data, which is obviously far higher classed than
15 anything that I was responsible for that's being
16 quoted here quite a few times in this agency in
17 support of making decisions.

18 MS. CUBBAGE: I think you --

19 DR. WALLIS: I'm very surprised that
20 that's the case.

21 MR. LANDRY: I think that what we have to
22 do is back up a little bit. We're not rejecting the
23 PUMA data. We're simply not requiring the applicant
24 to calculate.

25 DR. WALLIS: But you can calculate it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Okay. Well, maybe we should move on from this
2 discussion.

3 MR. LU: Okay. Issues to be resolved
4 before the final ICR. And I mentioned before, since
5 the minimal thermal margin, they did provide a new
6 version of the code. We need to look at that, and Vic
7 mentioned that it's actually sudden LOCA, break flow,
8 there is a spike. Actually, it was observed through
9 the PUMA. GE will be addressing that. And we also
10 found something inside of the -- remember I mentioned
11 the U-Tube type of lung, 15 second period of
12 oscillation like that, and we did see quite a lot of
13 -- observe collapsed water level inside ring one,
14 inner ring. And we want to have the explanation from
15 GE to say how this will be impacted on the minimum
16 water level. That's the issues needed to be resolved
17 for FSER for this particular part of the review.

18 DR. WALLIS: I thought there was something
19 mentioned about should it become apparent the core
20 might be exposed, something would have to be done. Is
21 that -- I would like to get --

22 MR. LU: We never even -- for all the
23 worst case, we never saw that the core was uncovered.

24 DR. WALLIS: It's just, I seem to remember
25 that that --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. CUBBAGE: But you're right, that would
2 be a condition in the SER, but that's not one of
3 Shanlai's conclusions for this part of the
4 presentation.

5 DR. WALLIS: I do remember right, there
6 was something --

7 MS. CUBBAGE: You do remember right, yes.

8 MR. LU: Yes, but that's the reason we
9 want to leave the design and certification review
10 stage. If there is any condition, because right now
11 the design itself is a reference design. It's not a
12 final design yet. Okay.

13 During the design certification review
14 stage and for long-term ECC LOCA analysis, right now
15 they use fixed boundary conditions, and for the PCC
16 heat changer external surface, which is conservative,
17 but we think that we want to keep using this for their
18 ECCS LOCA analysis, and it's better for them to add
19 additional nodes, so that the mechanics can model the
20 poor boiler situation.

21 We mentioned in July that there is some
22 nodalization issue related with GDCS pool, which gives
23 a slightly higher pressure because of nodalization.
24 And I think this can be resolved during the design
25 certification stage.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: Does it have to do with the
2 gravity?

3 MR. LU: Yes.

4 DR. WALLIS: It does?

5 MR. LU: Yes, it does. But it's not -- we
6 issued an RAI and the response came back, and we got
7 it, and we think that's acceptable at this point. I
8 don't think it's a big deal at all in terms of --

9 DR. WALLIS: That's a place where you
10 obviously have to use level tracking, because there is
11 a real level in there.

12 MR. LU: Yes, they do. But also, you want
13 to put a node on top of the water level so that you
14 can accurately calculate the air space pressure.
15 Feedwater operation out of the mass energy release
16 need to be evaluated for a massive E case. Once the
17 feedwater system was -- the design is finished during
18 the design certification stage. And right now, we
19 cannot really check in detail about this input to
20 models for ECCS LOCA and SLB LOCA because it's
21 reference design. And during the design certification
22 stage, what we are going to look for is the design
23 record file to support every number you put into it,
24 the geometry number you put into that input deck, so
25 we need to check that. That's something during the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 design certification stage we want to see. Okay.

2 MR. FORD: Now for my peace of mind, this
3 stage here when you have a detailed design
4 certification review, you take into account combined
5 thermal hydraulics issues, materials issues associated
6 with, for instance, gallons of cold GDCS water hitting
7 a hot irradiated stensial component. This is the
8 issue I brought up earlier on, and no one seems to be
9 shoving it apart and say that's just materials
10 concern. There's a thermal hydraulics materials
11 concern.

12 MR. LU: You're talking about thermal
13 shock issue. Right?

14 MR. FORD: Well, thermal shock is one,
15 yes.

16 MR. LU: Okay. Well, the thermal shock
17 issue obviously is not part of the review scope as
18 opposed to the TRACG application, but that definitely
19 needs to be looked into during the design
20 certification stage as part of a materials problem.

21 MR. FORD: Exactly, PTS issue. So thermal
22 hydraulics/materials.

23 MR. LU: Okay. As part of the TH
24 calculation, and TRACG has the capability to put a
25 slab there to model the vessel, actually sensible heat

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in the LOCA stage, and then -- and actually, each node
2 you can attach, if you structure, model what you are
3 talking about here.

4 MR. FORD: I understand that. In the very
5 beginning, the first day Ralph kind of said hey, don't
6 worry, Peter. We'll deal with that later on in the
7 design certification. I don't see it on that list,
8 and I'm assuming that it will be on that list some
9 time.

10 MR. LU: Oh, yes. This is the analysis
11 part of --

12 MR. LANDRY: Peter, the answer is yes.

13 MR. FORD: Thank you.

14 MR. ROSEN: Before you get off that, my
15 issue, Peter's issues are materials. My issue is
16 operational, which is this 10 to the minus 4 leak rate
17 between drywell and wetwell. Ten to the minus 4 per
18 square meter.

19 MR. LU: Right.

20 MR. ROSEN: How many vacuum breakers does
21 this machine have?

22 MR. LU: Three.

23 MR. ROSEN: So each of them is one-third
24 of 10 to the minus 4 square meter. Does it matter?
25 What if the leak rate were 10 times, the leakage area

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 were ten times 10 to the minus 4, what would it do to
2 these calculations?

3 MR. LU: That's a good question. I think
4 the code can handle that, and I want to show you a
5 slide. Okay. Here it is.

6 MR. LANDRY: Shanlai, this is Ralph Landry
7 again. If I may, that really is not going to
8 challenge the phenomenological capability of the code.
9 Whether the leak rate is 10 to the minus 4, or 10 to
10 the minus 3, or 10 to the minus 2, what it is going to
11 alter is the calculated result. I don't know how much
12 - we can't address that right now, but
13 phenomenologically, it's not going to alter the
14 capability of the code. And that's what we were
15 trying to address right now - does the code have the
16 capability to represent the phenomenon, so yes or no,
17 does it or not.

18 MR. ROSEN: I'm asking this question on a
19 slide that says, "Issues to be resolved during design
20 certification review." Shouldn't that issue be
21 resolved during design certification, whether or not
22 the leak rate is -- the peak pressure and temperatures
23 are sensitive?

24 MR. LANDRY: When sensitivity studies are
25 performed at the design certification stage, yes, that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 will be resolved.

2 MR. ROSEN: It's not on the list.

3 MR. LANDRY: We are looking at the
4 capability of the code --

5 MS. CUBBAGE: This certainly is not
6 intended to be a complete list of issues.

7 MR. KRESS: That's the issues related to
8 his work.

9 DR. WALLIS: Ralph, your argument, that
10 makes me -- I've been wondering what it is that is at
11 issue here. I mean, TRACG has a framework, and within
12 it there are lots of assumptions. It seems to me that
13 when you bless it, you're blessing both the framework
14 and the assumptions, because if the assumptions change
15 markedly, its ability to predict data changes
16 markedly. You have to take something like this
17 assumption of 10 to the minus 4 as part of the
18 integral thing that you're approving.

19 MR. LANDRY: And at the final stage it
20 will be, because there are a number of sensitivity
21 studies that must be performed for final approval of
22 a design. At that point, those assumptions will have
23 to be demonstrated to fall within the phenomenological
24 capability of the code as reviewed. Now if those
25 assumptions produce phenomena that are outside of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 range as reviewed, that will reopen review of the
2 code.

3 DR. WALLIS: But suppose the code had a
4 condensation coefficient in this PCC system which was
5 calculated using a completely wrong equation, you
6 would flag that as an RAI. You'd make them correct it
7 before you approve TRACG, which is the details you're
8 checking, as well as the structure of the code.

9 MR. LANDRY: That's correct.

10 DR. WALLIS: And this is detail too.

11 MR. RAO: Graham and Steve, I've done
12 extensive -- Ralph is absolutely right. We'll answer
13 it then, but let me give it a short answer right now.
14 We've done extensive testing of the new vacuum
15 breaker. We did reliability testing. We threw grit
16 at it, we threw sand at it, and all the rest of it,
17 we've checked it for leakage. There's a whole report
18 that's been done on that. We can make that available
19 to you also separately, but the answer is, this is
20 backed up by testing and evaluation.

21 MR. ROSEN: Well, I'm very glad to hear
22 that, Atam. I mean, I would like to look at the
23 report, but I really need to broaden my concern so
24 that you understand it. The vacuum breakers could be
25 the source of the leakage, but there could be others.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 There could be a crack in the concrete. There could
2 be a test valve, a test port between the wetwell and
3 the drywell which is normally capped, which someone
4 leaves the cap off. You know, I don't know the design
5 detail, so maybe there's nothing like that, but just
6 think about it generally. Something causes there to
7 be more bypass between wetwell and drywell, then you
8 assume this very small bypass. And I'm asking if that
9 happens, does it invalidate all of these good answers?

10 MR. SHIRALKAR: This is Bharat Shiralkar.
11 Let me add something to that. Sensitivity studies
12 have been performed by increasing the leak rate ten
13 times as large as what the design criteria is. And
14 the PANDA tests were performed with leakages ten times
15 as large as the specified leakage rate. The effect of
16 that leakage rate was small, but obviously, you cannot
17 increase that indefinitely. But certainly a factor of
18 10, we've analyzed. We found no significant
19 degradation.

20 MR. RAO: Let me carry it one step
21 further. And if you want to consider leakages even
22 way beyond that, originally we went in with the vacuum
23 breaker design without a valve. Now we've thrown in
24 a valve also, which you can -- if one of those vacuum
25 breakers is deemed to be leaking, you can shut it off.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Okay. So again, it will all be covered in the design
2 certification phase, but I do want you to feel
3 comfortable that we are looking at that. We have
4 looked at that, and we are addressing it.

5 MR. ROSEN: So what was just said was that
6 a factor of 10 leakage, we won't repeat
7 phenomenologically what happens, do you end up slowing
8 down the response, or do you end up higher pressures?

9 MR. RAO: You increase the bypass exchange
10 to the wetwell without going through the PCCS and,
11 therefore, you increase the pressure. It may increase
12 it by say half a PSI or something.

13 DR. WALLIS: But does that matter?

14 MR. RAO: No.

15 DR. WALLIS: Well, if it's too big a
16 bypass then the steam will all go that way instead of
17 going through the condenser.

18 MR. RAO: And that's when --

19 MR. SIEBER: You can calculate it.

20 DR. WALLIS: You need to have a Delta P to
21 drive flow through the condenser.

22 MR. ROSEN: So it goes back to the
23 question of how good is the construction and
24 operation, and maintenance, the tech specs will
25 reflect these requirements.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. RAO: It will reflect all that. This
2 is an important factor. We've included it in the
3 consideration. It's not one that we're ignoring, but
4 I just wanted to give you a short answer. There are
5 answers to all of the different things once it goes
6 beyond 10 percent, it will be low and stuff like that.

7 DR. WALLIS: Thank you very much, Shanlai.

8 DR. RANSOM: Mr. Chairman, how does ATWS
9 fit into the design certification?

10 DR. WALLIS: Ask these guys.

11 DR. RANSOM: Pardon?

12 DR. WALLIS: Ask the staff. You're asking
13 the staff, I take it, not me.

14 DR. RANSOM: Okay. Ralph, how does ATWS
15 fit into the design certification?

16 MR. LANDRY: At the present time, we have
17 reviewed the capability of TRACG to perform main steam
18 line break, the GDCS line break in the ESBWR design.
19 We have not reviewed the applicability of TRACG to
20 AAOs, ATWS, or Time Domain stability. Those reviews
21 will be conducted in the next phase of the pre-
22 application review during the next year. When we
23 complete that review, we will be able to then extend
24 safety evaluations, which we are prepared on the LOCA
25 applicability to also say applicability to AAOs,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 applicability to ATWS, and applicability to stability.
2 Right now, we are very narrowly focused in our safety
3 evaluation report on only LOCA. Okay?

4 MR. KRESS: Didn't we look at the
5 applicability of the AOO?

6 MR. LANDRY: For the operating.

7 MR. KRESS: For operating -- not for --

8 MR. LANDRY: Not for ESBWR. We looked at
9 the applicability to the AOOs, or the operating fleet
10 in the United States, BWRs 2 through 6, specifically
11 excluding ABWR. Now this is a little different when
12 we get into ESBWR because the core design is
13 significantly different, and the core design can alter
14 the AOO transient. So when we look at the AOOs for
15 ESBWR, it is with the actual ESBWR core design. That
16 is where we have to postpone the AOO review. General
17 Electric had originally said that they wanted this
18 review for LOCA and AOOs, but they had a proxy core,
19 I guess we could call it, a pseudo-core at that point,
20 and we looked at it and said wait a minute. The core
21 that you're talking about is a foot different in
22 height than what you have in this material. That's
23 going to have a significant alteration on the kinetic
24 response, so we had to postpone the review of the
25 code's applicability to AOOs until we received the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 actual core design, because those events are very
2 dependent upon the design of the core. So right now,
3 this review has drawn the conclusion that based on the
4 review of the TRACG computer code - now that means
5 everything we've discussed in the last two days - the
6 testing program, the PIRT, scaling, uncertainty
7 analysis, and our own calculations, we have concluded
8 that the TRACG computer code is applicable to LOCA
9 ECCS and LOCA CONTAINMENT in the ESBWR design; that
10 is, and we've been even more specific. We've stated
11 that the LOCA is the main steam line break and the
12 GDCS line break, and with this acceptance, it is
13 permissible to continue on to the design certification
14 stage.

15 Now during the design certification stage,
16 we have listed a number of confirmatory items in the
17 SER. We have two pages of confirmatory items that
18 must be checked out. We have listed extensive
19 conclusions addressing each of these items, and this
20 is only the bottom-line conclusion, so that when we
21 get to the design certification stage, we will then
22 have further assurance that yes, indeed, the phenomena
23 which we have seen occur in these analysis to-date
24 will be bonding the phenomena that would occur in the
25 actual design.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: Now can I ask you something
2 here? There are two things that I wonder about here.
3 One is, what do you mean by the code? And the other,
4 what do you mean by applicable? The code is not just
5 the structure of the code. It's also all the
6 assumptions made about it, like a mixing here, or 15
7 degree something or other, or various assumptions made
8 about the non-condensibles, whether they come in late
9 or early, and so on, hideout regions and so on, which
10 can be played with by the user of the code, as I
11 understand it.

12 So now when you mean code, do you mean the
13 code together with all the assumptions which were
14 reported to us, and to you by GE in the way in which
15 they use the code? Is that what you mean by the code,
16 or do you just mean the code as a structure into which
17 one can put assumptions?

18 MR. LANDRY: We're looking at the computer
19 code with the assumptions that have been made for this
20 review.

21 DR. WALLIS: Okay. So it includes the
22 code and the assumptions and the nodding.

23 MR. LANDRY: I was just going to go to
24 that.

25 DR. WALLIS: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LANDRY: We also recognize, and this
2 is a requirement that goes outside the actual
3 statement of the SER. The SER doesn't have to state
4 this. This is an automatic requirement. When they
5 get into the actual plant calculation, for the actual
6 plant calculation they are required to do a certain
7 number - or I shouldn't say that - they are required
8 to do a number of sensitivity studies and nodalization
9 studies, time-step sensitivity studies, assumption
10 sensitivities, demonstration of single failure, these
11 items that we have talked about in the past two days.
12 All those different combinations and permutations
13 haven't been discussed looking at the code structure
14 itself. Those have to be brought into the actual
15 plant calculation, but when they do that, they then
16 have to demonstrate that the phenomena predicted are
17 within the range of the phenomena as reviewed. So if
18 you go outside, such as you find a condition for which
19 you go into transition boiling, now we have to go back
20 and we have to re-review that.

21 DR. WALLIS: So Saha-Zuber correlation
22 they used for pool boiling, boiling initiation and so
23 on, is a fixed thing in the code. It's not going to
24 be tweaked by sensitivity calculations.

25 MR. LANDRY: Correct.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: There are some other things
2 in the code which are going to be tweaked in
3 sensitivity calculations.

4 MR. LANDRY: A number of -- yes. Yes,
5 those --

6 DR. WALLIS: The things which are
7 correlations, particularly those with names to them,
8 are unlikely to be tweaked any more. Is that right?

9 MR. LANDRY: Right. That's correct.

10 DR. WALLIS: They're frozen in some way?

11 MR. LANDRY: They're frozen in that the
12 code user, as we heard Charlie Heck explain earlier,
13 it does not have the capability to change those.

14 DR. WALLIS: Without going into the code
15 itself. Right.

16 MR. LANDRY: They're using in what
17 computer terminology is a bound executable.

18 DR. WALLIS: Okay.

19 MR. LANDRY: You can't go in and you can't
20 change those.

21 DR. WALLIS: Okay. But you can change the
22 leakage rate, leakage hole for the vacuum breaker.

23 MR. LANDRY: Right.

24 DR. WALLIS: You can.

25 MR. LANDRY: Because that's a modeling --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: So there's a stack of things
2 which you can access -- you've got access to certain
3 things.

4 MR. LANDRY: Right.

5 DR. WALLIS: So what's you're approving is
6 the code to which you don't have access, which you
7 cannot tweak any more. That's what --

8 MR. LANDRY: That's correct.

9 DR. WALLIS: And then applicable, I have
10 the same problem. And, of course, it applies, but how
11 well does it apply?

12 MR. LANDRY: Well, it applies in that from
13 the calculations which have been provided from the
14 assessment cases which have been provided, and our own
15 calculations, we have seen that the code does not
16 predict core uncoverly, and they have --

17 DR. WALLIS: I think you really ought to
18 have some gates here or criteria you ought to say,
19 sufficiently representative, accurate and so on, to be
20 useable enough that we can proceed, or something. Say
21 something about the characteristics of it, which are
22 acceptable. It seems to me --

23 MR. LANDRY: We'll go back and --

24 DR. WALLIS: I don't know what the
25 Committee feels about it, but it seems to me it's got

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to say something about the characteristics.

2 MR. ROSEN: I mean, I don't know what less
3 you could say then applicable.

4 MR. LANDRY: We can go back and --

5 MR. ROSEN: It's sort of okay. I mean, I
6 don't -- I mean, applicable is absolutely the minimum
7 word one could possibly use from the English language
8 to say -- and I agree with Graham 100 percent, that
9 what you've seen here, what we've seen in the last day
10 and a half is a whole lot more than applicable. It's
11 kind of okay. You know, it --

12 DR. WALLIS: It met some criteria.

13 MR. ROSEN: It tends to reproduce, and
14 even preserves gravity, thank goodness, Albert
15 Einstein.

16 MR. KRESS: Well, if I were GE's people,
17 I would be happy with this conclusion. Are you aiming
18 your rewording at another audience?

19 DR. WALLIS: Well, it just says nothing.
20 We know it's applicable. I mean, the principles of
21 thermal dynamics are applicable, and --

22 MR. KRESS: Well, it tells me to feel free
23 to go ahead and use it until they find out something
24 is --

25 DR. WALLIS: Well, the real thing is that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we've made decisions it can be used.

2 MR. KRESS: Yes.

3 DR. RANSOM: Well, it's consistent with
4 the philosophy laid out in CSAU. The part that hasn't
5 been defined is the uncertainty.

6 MR. ROSEN: I think you're cheating GE, is
7 what I think, with the word applicable. They've
8 really done more than just convince you it's
9 applicable.

10 DR. WALLIS: I think they want something
11 more of an endorsement, which says that it's a good
12 code. It's acceptable for this, this, and this. And
13 you're not going to go back and again and question it.
14 They'd probably like something more definite.

15 MR. LANDRY: They might want us to go back
16 and say this is the greatest thing since sliced bread,
17 but we're regulators.

18 DR. WALLIS: Maybe the public deserves
19 some sort of indication that it's more than just
20 applicable. Again --

21 DR. RANSOM: It would be nice if you could
22 say it was 95 percent probable that it's within 10
23 percent of the actual data, or something like that.

24 MR. ROSEN: Well, now you're --

25 MR. KRESS: Yeah, that's impossible.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. RANSOM: But that's probably --

2 MR. ROSEN: Perhaps someplace in-between
3 the Ransom categorization, characterization and --

4 DR. WALLIS: Well, you could say the way
5 that you sort of do in the university. You could say
6 it's met all the requirements for the degree. It's
7 met all the requirements of the staff at this stage.

8 MR. KRESS: Well, that's pretty much what
9 Ralph Caruso was saying, it meets all the requirements
10 of the CSAU.

11 DR. WALLIS: That would be okay. You say
12 met all the requirements. We have checked, and it
13 meets all the requirements of the CSAU process, or
14 something that gives more authority to the statement.

15 MR. LANDRY: We'll take this into
16 consideration, and we'll look at the wording and see
17 if we can't make a nicer wording. But General
18 Electric hasn't weighed in. They might be perfectly
19 happy with that conclusion too.

20 MR. ROSEN: They'd be happy to get on the
21 airplane and make it back to California. They're
22 happy with the last line.

23 MR. KRESS: Acceptable to proceed, yes.

24 DR. WALLIS: Acceptable to proceed is what
25 they're happy about.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SHIRALKAR: We've got a couple of
2 presentations we are asking for a little more than
3 Ralph has here.

4 DR. WALLIS: So is it time to move on to
5 GE's presentation then? And, Ralph, you can stay
6 around, so you can come back again.

7 MR. LANDRY: I wouldn't miss it for the
8 world.

9 MR. LEITCH: Ralph, let me ask a question
10 that I think is beyond the scope of what we're talking
11 about here, and it may be in the design certification
12 phase; but I'm a little concerned about how the flow
13 gets started through this reactor in normal
14 operations. In other words, you're sitting there with
15 no flow at all, no heat, just sitting there and you
16 start pulling rods. And I guess I see the possibility
17 of some instability, some dynamic things going on,
18 some oscillations going on. Is there a code that you
19 plan to use that looks at that particular phenomena?
20 In other words, how do you get from -- I'm talking
21 about zero up to 5 percent power or something like
22 that. I mean, once it gets going, I think I can
23 understand the validity of the Ontario Hydro kind of
24 test, but that starting point in that test was you had
25 the flow. And I guess what I'm saying is, the very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 beginnings of this, how do we get started and get flow
2 established in a uniform manner without locally
3 overheating or damaging the fuel? Those kinds of
4 issues are somewhat troublesome to me.

5 MR. LANDRY: I think, Graham, for the
6 complete answer, I'd like to defer that to General
7 Electric. But for items such as stability, that's
8 still -- that's going to be proposed to be TRACG. We
9 have not had that material submitted to-date. We've
10 had some preliminary discussions with General Electric
11 on it, but we have not seen the material to-date.
12 That will be next summer.

13 MR. LEITCH: Okay.

14 MR. LANDRY: But as far as the actual
15 start-up operation, how they plan on starting up a
16 natural circulation machine, that I would defer to the
17 applicant.

18 MR. ROSEN: Can I add to that? I'm going
19 to climb on your question. At some point during the
20 scenario you just went through, someone's got to start
21 up the feedwater system, and it seems to me that in
22 addition to getting passed the point of adding heat
23 and generating some steam, at some point you're going
24 to have to turn on the feedwater system, at a very low
25 level, just a trickle.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SIEBER: Just turn it on a little bit.

2 MR. ROSEN: So maybe, Atam, you could talk
3 about some of this.

4 MS. CUBBAGE: How about we let GE take the
5 floor, and start their presentation.

6 DR. WALLIS: These are not safety issues,
7 are they?

8 MR. ROSEN: Yes, they could be. I'm much
9 more worried about this plant from a safety point of
10 view, between zero percent and 5 percent, than I am
11 between 95 and 100.

12 DR. WALLIS: Well, you turned on your
13 coffee percolator and it worked. It's very similar.

14 MR. ROSEN: It's got some other things in
15 it than black coffee.

16 MR. LANDRY: Well, let me say what I've
17 had to say to the reviewers the past year and a half.
18 Let's keep focused. If GE wants to talk about this,
19 this is a design certification or design issue, but
20 I've had to pull the people back repeatedly and say
21 okay, let's stay focused. Are we talking about a
22 design certification issue, or are we talking about a
23 code phenomenological issue?

24 MR. ROSEN: Good luck.

25 MR. LANDRY: We are right now reviewing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the phenomenological capability of the TRACG code for
2 LOCA. Are we getting outside of that range?

3 DR. WALLIS: I think we are getting
4 outside. Are we ready to move to GE?

5 MR. LANDRY: I am.

6 DR. WALLIS: You're going to stay around.
7 Ralph, you're going to stay around.

8 MR. LANDRY: Yes, sir.

9 MR. RAO: We're assuming it's closed
10 session.

11 DR. WALLIS: Yes, we can make it a closed
12 session. We will now move to a closed session. You
13 want to check that all the spies are gone, or
14 whatever, member of the public.

15 (Whereupon, the proceedings went into
16 Closed Session.)

17

18

19

20

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: Now are you going to tell us
2 anything you didn't tell us in the wonderful
3 presentations you gave us previously?

4 MR. RAO: I'm just going to put these
5 skip-throughs on, and I wanted to show you a couple of
6 things. While I'm putting this on, I want to say that
7 we are now part of GE Energy, no longer GE Power
8 Systems.

9 DR. WALLIS: Do you get more money because
10 of that?

11 MR. RAO: No. It's -- we're here for all
12 your energy solutions. Okay. First, I do want to
13 thank -- you know, we've had an extremely productive
14 and useful discussion with the staff. It's been a
15 very open discussion. All of the stuff didn't come
16 out in the meetings and the presentations. There are
17 some excellent questions. We provided answers. We
18 believe we provided answers to all the RAIs.

19 I've been working on licensing issues for
20 a long time, and I have not had such a good
21 interaction with the NRC as I've had on this program.
22 It was really -- they were trying to find out what
23 we've done, and like I said, it didn't all come out in
24 the charts, but it was a very thorough and detailed
25 review. They did find a lot of -- some things that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 did embarrass us, but again, the interesting thing out
2 of this interaction in this review has been that it's
3 almost anything you do to the design, the answer is
4 the core does not uncover and it's got a lot of margin
5 in the design, so that was the good thing that came
6 out of it, the bottom line out of that.

7 DR. WALLIS: That may be true whether we
8 use TRACG or not, so I guess we're talking about
9 whether or not TRACG --

10 MR. RAO: Right.

11 DR. WALLIS: It may well be that by some
12 much simpler analysis you could reach the same
13 conclusion.

14 MR. RAO: You could reach the same
15 conclusion. But the purpose of this exercise was to
16 go through the rigorous process. Okay. I mean,
17 Bharat and Bob presented the rigorous process that we
18 through. We've gone through the rigorous process. We
19 always had the good feeling that the results would
20 come out okay, so really what we are asking --
21 basically, what we are doing out here is a couple of
22 things. I want you to appreciate what we are doing in
23 the overall program in terms of trying to get
24 certification for this plant.

25 We're basically doing a step-wise program,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 little different than what the other suppliers are
2 doing. You heard from AECL earlier about their pre-
3 application review, part of the AP1000 pre-application
4 review. The difference that we are trying to achieve
5 in our pre-application review is actually closure of
6 some of the issues, safety evaluation reports,
7 approval of the methods. Okay? So we are not just
8 looking for guidance on some of this stuff. We are
9 looking for safety evaluation reports and closure, so
10 there is a difference.

11 And basically, the objective of that is to
12 simplify the DCD review, so take all of these things
13 out of the review during the design certification, do
14 it beforehand, get all the methods out of the way
15 beforehand, get all the testing done beforehand. So
16 there is a difference in what we are proposing here,
17 and what the others are doing.

18 And, of course, one of the things that has
19 happened over the years is that GE is focusing on
20 ESBWR as the plant of choice in the U.S., and we are
21 putting all our energies and efforts into trying to
22 make that as the plant that would be the one the
23 utilities would choose.

24 Basically, what we are doing again, like
25 I said, we're using TRACG in combination with the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 application methodology document. It's not just the
2 TRACG code, it's the methodology also that goes with
3 it. And basically, what we were trying to say out
4 here - the process that we've gone through, all these
5 sensitivity studies, all these comparisons to the
6 codes, the interactions with the NRC, with the review
7 by the consultants, after all that is said and done,
8 the key question is what is the important - what came
9 out of that?

10 What came out of that, at least what our
11 view of what we heard in all the presentations was
12 generally, the staff does agree that the code can be
13 used for this application. There are no parameters
14 that seem to indicate that there would be any core
15 uncovering in this plant, and the TRACG computer code is
16 applicable for this use.

17 The next step that we're asking for is if
18 that is, indeed, the conclusion, we would like to get
19 approval for that. And I think you've heard that. I
20 believe the staff has to go through certain processes
21 to do that, but I think you, as an Advisory Committee,
22 can definitely, hopefully come to that same conclusion
23 that we came to, that the code is ready for approval
24 and for use, given the combination with the
25 application methodology, which was part of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 process.

2 Again like I mentioned, the design process
3 is a step-wise process. The design certification is
4 a step-wise process. What I've shown out here is what
5 our certification schedule is for the -- this is our
6 wish list for the design certification schedule. We
7 are in discussion with the staff on this schedule.
8 Basically, we made our first request in early 2002,
9 made our first sets of submittals in August, 2002.
10 And the NRC has been reviewing those submittals. And
11 what we are looking for is an SER in March of this
12 year on the plants and safety system methods. That's
13 what you heard today.

14 Along with these submittals, we had also
15 submitted the application methodology for the AOOs,
16 and it is basically, we're going to use the same
17 methodology as we used for the operating plants. It's
18 no different. Okay? And the reason this got
19 separated from that was because there was one set of
20 RAIs where the NRC wanted the transient analysis for
21 the actual current configuration of the ESBWR. Fair
22 question, and we just got delayed. We focused on the
23 other stuff, and we will get back to them by the
24 middle of February, and we're looking for a supplement
25 to that SER to cover AOOs.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Subsequent to that, so this is where we
2 were when we first started. And then along came the
3 request from the utilities for -- they wanted to start
4 considering building plants in the U.S.

5 MR. ROSEN: That's not a bad thing,
6 necessarily.

7 MR. RAO: A damn good thing, but we had a
8 schedule where we were going to get an FDA in 2007.
9 Okay. It did not fit in with their schedule for
10 making a decision, so we heard that everyone liked
11 this plant, but somehow we were off the overall
12 schedule on the FDA. So we scratched our heads and
13 tried to figure out what is the best way to try to
14 move that date in, and we came up with this approach
15 of trying to some of these items into an earlier
16 review. Instead of doing the design certification
17 review all as one package, move some of them in
18 earlier, some of the long lead items - okay - and some
19 that can be easily broken out.

20 For example, you know, you heard about the
21 SER on the plants and safety system. Okay. The other
22 one we thought we could move in earlier was the
23 Stability and ATWS, again get approval for those
24 methods. And then all that would be left then would
25 be basically looking at the systems. Okay?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now when you look at the systems, when you
2 looked at the single failures that we are talking
3 about - okay - it's not a complex set of single
4 failures. The actual reviews of the PSA, the reviews
5 of the systems and buildings, that's what I call the
6 systems and buildings, that's in the traditional sense
7 the design certification submittal, or the
8 application.

9 MR. ROSEN: You jumped over some things a
10 little too easy for me. You said if you're looking at
11 single failures deterministic kind of approach that
12 we've typically taken, I think you're going to find
13 that the core stays covered, and the plant is very
14 robust, and there's lot of margin. So you're going to
15 meet the typical single failure criteria fairly
16 easily. It's when you get into the PSA, when you
17 start saying well, we're going to fail everything.
18 You know, we're going to take this down to everything
19 fails, and you know we're going to see just how bad
20 that can be, and recognizing, of course, that when we
21 do that, the probability gets tiny. But we're going
22 to do that just as a PSA does. It's a severe accident
23 space. And so there, you know, it's more complicated
24 because your models aren't as good, and I don't know.
25 I mean, I haven't heard much about that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. RAO: You haven't heard much about
2 that, but the reason we are confident, I'll just give
3 you again a 30,000 foot - I'm not trying to duck the
4 issue - if you saw, you see it on one of my other
5 charts - we've never said that the probability will be
6 tiny. We've always said it will be about the same as
7 that for an ABWR. Okay. Remember, that's 10 to the
8 minus 7. Vessel failure is 10 to the minus 8. Anyone
9 who tells you that they can get lower than that is
10 smoking something that's not legal anyway.

11 MR. ROSEN: Well, of course. But
12 nevertheless, I have maintained all along that the
13 value of doing this is not so much the final number.
14 It's about understanding the phenomenology.

15 MR. RAO: And we will do that. And the
16 reason we are confident that it will be an easy review
17 is because we did a detailed PRA for the SBWR. In
18 terms of the system designs and things that affect the
19 PSA, there are very few systems that have changed that
20 will affect the paltries - okay. So that's why -- so
21 we will get to that. And I'm not trying to minimize
22 that. That's why, exactly for the reason, we pulled
23 out severe accident PSA. And we said that is an item
24 that usually takes longer. Okay. So what we -- let's
25 move that earlier. Let's start discussions with the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 staff earlier so that, that's what we're saying here.
2 Start discussions with the staff end of `04/early `05,
3 in that area. Okay? So that once we submit the SAR
4 and the DCD - okay - in the middle of `05 - okay -
5 we've already been talking with the staff on what
6 we're doing in the severe accident PSA. That then the
7 review by then will have got this SER too, on
8 Stability and ATWS. We'll already have got all this
9 stuff out of the way. We would have got approval of
10 the use of TRACG for LOCA and CONTAINMENT. And when
11 the staff will primarily focus on the systems and the
12 issues that --

13 MR. ROSEN: Right. And I think you should
14 recognize, and I know you do, that that's a little
15 loop for -- in terms of -- for the staff, in terms of
16 thinking about those issues at the licensing stage for
17 a plant. You know, typically the staff has spent a
18 lot of time thinking about PSAs with utilities who are
19 operating one of 100 plants out there. It was an
20 afterthought, and a lot of that work has been about
21 looking at these issues in the context of an operating
22 plant. Here, they'll be looking at the same sort of
23 issues, but in the context of a plant and design
24 certification, and that's a little different. And
25 that will have different impacts in the iterations

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 between you and the staff, and with us.

2 MR. RAO: We fully understand that. You
3 know, the approach has been to try to make it easier
4 for the staff also. Okay? And at least from our
5 perspective, I think -- I hope Amy will back us up.
6 We've tried to make it easier for the staff, and we --

7 DR. WALLIS: You know, I understand all
8 this, but I'm not quite sure that the Thermalhydraulic
9 Subcommittee has anything to say about it.

10 MR. RAO: No. I'm just telling you what's
11 coming down the pike.

12 DR. WALLIS: All right. I mean, I think
13 you may want to move on.

14 MR. RAO: Okay. The only --

15 MR. ROSEN: The RA Subcommittee will have
16 some interest in it.

17 MR. RAO: No, the only part that is
18 important -- Graham, the only part that is important
19 for the Thermalhydraulic Committee is, it does rely --
20 this whole approach ultimately does rely on getting
21 early SERs, and --

22 DR. WALLIS: The actual words that you get
23 at the end of the SER is what you're after.

24 MR. RAO: Right. Right. And that is
25 important to the overall process. Schedule and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reality of making things happen are important. Again,
2 what -- the first two SERs are focused on getting
3 approval of the methods, and for all of these things
4 is what we're talking about. And basically, also,
5 there is a footnote in all of those approvals, which
6 is that no additional testing is required.

7 DR. WALLIS: What you're after is not
8 having to do any more work on TRACG, and not having to
9 run any more tests.

10 MR. RAO: Yes. Some of these things
11 you've heard, and I will try to keep this -- I'll try
12 to answer as many of the questions as I can quickly.
13 We won't have time for too many. We have used this as
14 reference. You cannot approve a method without a
15 reference design. Okay. So, you know, an approval of
16 a method doesn't come without something in context.
17 And this is what the reference design has been. I do
18 want you to notice the asterisk out here, that one of
19 the advantages we have of doing some of this
20 methodology, we have the opportunity to optimize the
21 design. We are improving the design as the
22 methodologies are being improved. We expect some
23 minor changes within the 5 or 10 percent range for
24 some of these parameters that are shown with an
25 asterisk.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. RANSOM: No diesel generators, I
2 guess.

3 MR. RAO: Yes. No, safety grade diesel
4 generators.

5 DR. RANSOM: So you don't need it for any
6 loss of slight power.

7 MR. RAO: No.

8 MR. ROSEN: They have diesel generators
9 but not safety grade.

10 MR. RAO: Not safety grade.

11 DR. WALLIS: In a complete blackout the
12 plant just runs itself, and the operators don't know
13 what's going on, or do they have batteries so that
14 they can tell what's going on?

15 MR. RAO: They have batteries they can
16 tell. There's instrumentation.

17 DR. WALLIS: But they can't open and shut
18 valves because they don't have enough power.

19 MR. RAO: They've got enough power with
20 the batteries. There are banks of batteries, and you
21 will have power. Okay. You need power for
22 instrumentation, you need power for valves. The basic
23 design figure, you know, is -- this water out here is
24 about 1,000 cubic meters --

25 MR. CARUSO: Run out of battery -- your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 battery has gone dead.

2 DR. WALLIS: Switch on your diesel
3 generator, you'll be okay.

4 MR. RAO: I can talk loud enough. Okay.
5 I'll use this as a pointer. The key thing to notice
6 out here is this volume out here is about 700 cubic
7 meters up to the top of the active fuel. And the
8 volume in the three pools, these are the GDCS pools,
9 is about 1,100 cubic meters.

10 DR. RANSOM: I thought you said there were
11 four.

12 MR. RAO: No. There are four divisions,
13 meaning there are four sets of valves and lines. And
14 one of these pools has two lines coming out of it.

15 DR. WALLIS: One is bigger than the
16 others, is it?

17 MR. RAO: They're about the same size.

18 DR. WALLIS: So you're saying if you
19 sheared off the bottom of it, just dumped all the
20 inventory of water, you'd still be above the core.

21 MR. RAO: If you sheared off the bottom of
22 the vessel you'd have -- you won't have to wait for
23 Bush's Mars Mission. You'd have this landing there
24 right now. You don't want to do that.

25 DR. WALLIS: But you were saying earlier

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that if all the water dumped into the sump, which is
2 so big because you have control rods and things down
3 there, it would still come up --

4 MR. RAO: You would fill it up to the top
5 of the active fuel, more than the top of the active
6 fuel actually, because that's about 1,100 cubic
7 meters, thereabouts. And in part of our optimization
8 process, we are actually increasing that volume a
9 little bit. And also, there's enough water out here,
10 if you don't have those pools available, the
11 suppression pool can also drain there and not uncover
12 any of the vents. Okay. That's part of the criteria.

13 Okay. You've got the PCC vents and the
14 normal vents. Otherwise, it's a fairly simple design.
15 You know, there's nowhere else that the water can go.
16 It's fairly elementary. This shows not to scale, we
17 still haven't fixed it, Chairman, and one of these
18 days we will get --

19 DR. WALLIS: We talked about that.

20 MR. RAO: Yes. But this shows some of the
21 valves and the lines. It doesn't show all of the
22 lines. This GDCS line, each line basically splits
23 into two, and you've got two lines connected to the
24 vessel. Okay. So each one are what we call the four
25 divisions. There are four lines that come from the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pools. Then they split into two when they inject into
2 the vessel.

3 DR. RANSOM: Two of them come out of one
4 pool, I guess.

5 MR. RAO: Yes. Right. And this is what's
6 called the equalizing line that provides the
7 connection between the suppression pool and the core
8 also, so this is an additional source of water makeup.

9 DR. WALLIS: Is the core really as tiny as
10 that in the overall --

11 MR. RAO: It's only 3 meters tall. It
12 really is sitting much lower in the vessel.

13 DR. RANSOM: What is the purpose of the
14 PCCS drain tank?

15 MR. RAO: WE might remove this as part of
16 the optimization. Okay. It was a nice one to have
17 that, you know, before the pressure comes down, you
18 want to make sure that during the initial blow down
19 that some gets condensed. Okay. When the pressure
20 comes down, then you can put it directly back into the
21 vessel. It was a nice thing to have. It doesn't
22 necessarily help too much. It takes up a lot of room.

23 MR. SIEBER: It looks like it's there to
24 make sure you have water --

25 MR. RAO: No, it's not a necessary piece

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of equipment. It's not necessary. It was just a
2 nicety that we put in there, and we're finding that
3 it's actually more of a hindrance. It takes up a lot
4 of room, there's extra valves and stuff like that.

5 MR. ROSEN: It may come out is what you're
6 saying.

7 MR. RAO: WE'll probably take out the
8 tank.

9 MR. ROSEN: How long is the fuel actually?
10 You say 3 meters, the active fuel length is 3 meters?

11 MR. RAO: Yes. Three meters is the active
12 fuel length. The typical active fuel length is 3.7
13 meters, so it's 10 feet versus 12 feet.

14 MR. ROSEN: Only 10 feet.

15 MR. RAO: Yes. You need the shorter fuel
16 because it's got a lower pressure drop with natural
17 circulation. It helps to have slightly shorter fuel.
18 The -- let's see. What are the other questions that
19 might have come up in some of the questions? I think
20 that's --

21 MR. LEITCH: This is not a complete
22 system. This just shows the passive safety systems?

23 MR. RAO: It just shows the passive safety
24 systems.

25 MR. LEITCH: It's still reactor water

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cleanup, for example, is there?

2 MR. RAO: Right there. Good strawman
3 there. It has the reactor water cleanup system.
4 Okay. The reactor water cleanup system, even though
5 it's shown outside the building, it actually is in
6 this part of the building, of the reactor building.
7 Okay. There are two trains of reactor water cleanup
8 system. They also function as the normal shutdown
9 cooling system, so what you've got now is a full
10 pressure decay heat removal system, which from PSA
11 point of view has got to be a big help.

12 DR. RANSOM: Where is it, grade level on
13 that?

14 MR. RAO: Grade level is somewhere around
15 here. You'll probably see that on the next chart.

16 MR. ROSEN: Did you say RWCU is actually
17 in the CONTAINMENT?

18 MR. RAO: It's in this compartment. The
19 CONTAINMENT is this boundary. Okay?

20 MR. ROSEN: Okay. So it's not in the
21 CONTAINMENT.

22 MR. RAO: It's not in the CONTAINMENT, but
23 it can be in a pressure bearing compartment if we want
24 to make it part of that pressure bearing.

25 DR. WALLIS: Grade level is variable. You

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 could vary it more if that were desirable.

2 MR. RAO: It just costs money, yes.

3 DR. WALLIS: It would cost money, but you
4 could -- no reason the grade level has to be there.

5 MR. RAO: Well, we'll show you on the next
6 chart, which shows the actual drawn to scale.

7 DR. RANSOM: Where is the steel liner of
8 the CONTAINMENT?

9 MR. RAO: The steel liner of the
10 CONTAINMENT, this is steel lined containments all
11 here, all the suppression pool, this area is all steel
12 lined. Okay. This shows the PCCs, the ICs, the
13 automatic heat sync is the atmosphere ultimately. The
14 water evaporates from there. What's shown out here is
15 a line where you can connect a fire truck to provide
16 water makeup, one of the questions that Graham had.
17 Let's see, what are the other things?

18 You can also provide makeup to these pools
19 through what's called the fuel and auxiliary cooling
20 system, which I think is shown somewhere here. Okay.
21 The terminal island looks pretty much like any
22 terminal island, and it's -- the only difference is
23 you have a direct contact feedwater heater, which
24 provides additional -- it helps during the transients.
25 You might hear about that when we talk about AOOs.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 This shows the evolution of the
2 containments in the reactor building. We move the
3 spent fuel out to a separate building, grade level is
4 about here. You'll see that better actually on the
5 next building.

6 MR. SIEBER: I think that's where you can
7 show where the containment boundary is.

8 MR. RAO: Yes, this is the containment
9 boundary here. The tubes off the PCC heat exchangers
10 also are part of the containment boundary. Okay.

11 MR. SIEBER: So if you have a LOCA inside,
12 at the upper part of the --

13 MR. RAO: If you have a LOCA inside
14 containment, let's look at this one. Okay. If you
15 have a LOCA out here, this shows the containment
16 boundary. Here's the red. Okay. This part is the
17 drywell. Okay. So this part does get pressurized.
18 Okay. We fully anticipated that the NRC would be
19 talking about suction strainers. No, that's a big --

20 DR. WALLIS: We'll eventually. This
21 distorts the drywell. In fact, the wetwell is not so
22 tiny compared with the drywell, as one might think, is
23 it?

24 MR. RAO: Yeah. They're about the same
25 volume roughly. The air space volume is about the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 same. One thing we did change on the SBWR was move
2 the GDCS pool. This used to be open out here. Okay?
3 Now we put the wall all the way up to the top. Okay.
4 So no insulation or anything else can now be flying
5 into the GDCS pool, so that's a side benefit that came
6 out of the -- yes. We did that for -- what we did do
7 was we -- this gives us additional wetwell volume, so
8 it allowed us to reduce the design pressure. The SBWR
9 design pressure was 55 PSIG, which was 10 PSIG higher
10 than ABWR. We could theoretically go down to 40 PSIG,
11 but our designers told us there was no added value to
12 that.

13 DR. RANSOM: The steel containment liner,
14 can you inspect that, or is it buried in the concrete?

15 MR. RAO: It's on the outside.

16 DR. RANSOM: But how could it be when you
17 go around the suppression pool, and --

18 MR. RAO: It's like the pool liners.

19 DR. RANSOM: Well, then you have to go
20 over the walls. How do you -- do you set the concrete
21 wall on top of the liner?

22 MR. SIEBER: Yes. It's like the BWR, you
23 put the liner up first and pour concrete around it.

24 DR. RANSOM: So it is not inspectable
25 then. Is that right? How can you if you pour

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 concrete on it?

2 DR. WALLIS: The concrete is on the
3 outside.

4 MR. RAO: The concrete is on the outside.
5 The steel --

6 DR. RANSOM: It can't be on the outside,
7 and still have these pools inside the containment.

8 DR. WALLIS: It is the wall of the pool.

9 MR. GAMBLE: You go inside the pool. You
10 drain down the pool, and you go inside the pool, and
11 the wall is in the pool.

12 DR. RANSOM: Well, that means it must go
13 up over the wall somewhere. Somehow it has to go
14 through the walls.

15 DR. WALLIS: You go through that wall
16 there where --

17 MR. RAO: It goes up through there. Okay.

18 MR. LEITCH: How about the dryer separator
19 pit, where is that?

20 MR. RAO: That's on the next couple of
21 charts. This basically shows what simplification has
22 happened in the design. Basically, we got the reactor
23 vessel. This is where the reactor water cleanup
24 systems are and the hydraulic control units. Okay.
25 And those are the only real water systems that are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 left.

2 DR. WALLIS: When we make a presentation
3 to the Full Committee, it would be very useful to have
4 some of these figures out right at the beginning and
5 have them available so they can refer to them, but not
6 spend a lot of time describing it.

7 MR. RAO: Okay. We will make these
8 available.

9 DR. WALLIS: That's very, very useful.

10 MR. RAO: In color and bigger.

11 DR. WALLIS: And to scale.

12 MR. LEITCH: What about the chimney, does
13 that have to come out, or can you --

14 MR. RAO: No, the chimney stays in.

15 MR. LEITCH: You refuel through that.

16 MR. RAO: Refuel through the chimney.

17 DR. RANSOM: What are the added structures
18 around that? Is that for security?

19 MR. RAO: Okay. This is the refueling
20 floor. Okay. This was a structure that we added post
21 9/11.

22 DR. WALLIS: It looks like another
23 containment.

24 DR. RANSOM: Right.

25 MR. RAO: Okay. We added that post 9/11.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We are waiting to find out what the DVD requirements
2 are, and we will adjust that accordingly.

3 DR. RANSOM: Is that concrete?

4 MR. RAO: It's not defined. We've allowed
5 space for it. We have a separate refuel, spent fuel
6 storage is now essentially at grade elevation, most of
7 it below grade. You've got inclined fuel transfer.
8 It doesn't have the challenges of the Mach 3, where
9 the inclined fuel transfer opens out into the
10 containment. This is outside containment, the top
11 end, so you can move stuff during normal operation.
12 So it's operationally a much easier, and a nicer
13 piece.

14 MR. CARUSO: Where does all the steam go
15 that evaporates off of the ICS and the PCGS?

16 MR. RAO: There's a chimney out here, and
17 it goes out of the building.

18 DR. WALLIS: So if you see steam coming
19 out of this thing, it's probably had a LOCA, or --

20 MR. RAO: It takes about eight hours or so
21 before that pool heats up. It takes a while. There's
22 a lot of water there. And, you know, there's a
23 cooling system that can cool that pool. You don't
24 have to let it steam. I mean, we probably normally
25 wouldn't expect it to steam, but in case, for 72

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 hours --

2 DR. WALLIS: Once you've opened the --
3 whatever you call that, ADS, then it's going to steam.

4 MR. RAO: Well, no. Even then it won't.
5 Eventually. If you have power, you can cool it.

6 MR. ROSEN: The operators are not going to
7 let the pool go --

8 MR. RAO: Yeah, they won't let the pool
9 boil. Yeah, you can cool that pool.

10 MR. ROSEN: As long as it's dark and
11 there's no moon.

12 MR. RAO: But the thing to notice is, it's
13 actually a fairly simple system. There's pools of
14 water. Here's the suppression pool area. This
15 elevation is where the GDCS pools are. This is the
16 main steam lines, and these are pools up on the
17 refueling floor. And the systems that you're talking
18 about is reactor water cleanup, hydraulic control
19 units in this area, and the fuel pool cooling system
20 in the basement of the spent fuel storage pool.

21 You asked about batteries, lots of
22 batteries, at least banks of batteries. There are
23 four separate divisions of --

24 DR. WALLIS: What does this have to do
25 with the assessment of TRACG?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. RAO: Nothing. I was trying -- I'll
2 jump through it real fast. I just wanted -- okay.
3 Not much. I just wanted to be responsive to your
4 questions.

5 DR. WALLIS: Well, it's very interesting.

6 MR. RAO: These are the hatches for the
7 ICPCCs, and this is the refueling floor. And you can
8 go in there and access --

9 MR. ROSEN: Are they -- would they
10 normally be radioactive? I mean, you've drained them
11 down --

12 MR. RAO: Not the --

13 MR. ROSEN: Is that the normal -- you
14 know, normal operation.

15 MR. RAO: The IC could be, but not the
16 PCCC.

17 MR. ROSEN: No, but the IC would be
18 normally used --

19 MR. RAO: For isolation.

20 MR. ROSEN: If you had an isolation.

21 MR. RAO: Yes.

22 MR. ROSEN: So you put reactor water
23 through it. Right?

24 MR. RAO: Pardon?

25 MR. ROSEN: You've had reactor water go

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 through it.

2 MR. RAO: Steam, yeah.

3 MR. ROSEN: And steam, so it might be
4 contaminated.

5 MR. RAO: Yes.

6 MR. ROSEN: So if you want to maintain it,
7 you drain the pool down, you take those big end valves
8 off the end of the --

9 MR. RAO: Yes, and you can take the pieces
10 out. These are the hatches for the Ics.

11 MR. ROSEN: Now the picture you had with
12 the cartoon character that showed -- this was the --

13 MR. RAO: PCCS.

14 MR. ROSEN: Those were the PCCS. Does the
15 IC look like that?

16 MR. RAO: It looks exactly like that. The
17 only thing was we only tested one-half of it, because
18 of the steam supply limitations.

19 MR. ROSEN: So it's got headers high and
20 low.

21 MR. RAO: Exactly. It looks exactly like
22 that.

23 MR. ROSEN: Just like that.

24 MR. RAO: It looks exactly like that,
25 except it has a few extra valves. You'd rather cut it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 out, but there is access, and we've allowed for access
2 at this elevation. Okay.

3 This chart shows what we are doing in the
4 overall analysis. We are going to use TRACG for all
5 the applications, except for some of these out here,
6 so it's going to be basically used for all the ESBWR
7 analysis that we're talking about. You saw this one,
8 and what we are looking for is basically approval of
9 the application methodology. Okay.

10 You heard what we said earlier. I will
11 skip of these. You heard these. I did want to show
12 some of these pictures out here. This guy is really
13 having a good time. He's getting old now. He's been
14 at this for 20 years, and he's glad that it's finally
15 over. He's got a mustache, no beard. We allow
16 mustaches. Okay.

17 This is a full scale test of the
18 depressurization valve. This is what it looks like.
19 This on the top right hand is the vacuum breakers.

20 MR. ROSEN: Show me which is --

21 MR. RAO: The vacuum breaker, it's inside
22 out here. Okay. This is that piston that I talked
23 about. Okay. These are the four arms which open out
24 to the wetwell. This is where the drywell is. I
25 mean, this is the wetwell out here, and the drywell is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on these --

2 MR. ROSEN: What do the arms do? I don't
3 get it.

4 MR. RAO: They discharge into the drywell.
5 This is sitting on the diaphragm floor.

6 MR. GAMBLE: This is Bob Gamble. Those
7 are to give you a large protected surface area for
8 flow. There's no active parts in those arms. The
9 valve is in that center vertical cylinder. Those just
10 give you a large flow path out into the drywell where
11 you could potentially have debris and things.

12 MR. ROSEN: Okay. So the non-condensibles
13 come up through the middle and go out these four arms.

14 MR. RAO: Yeah, they go out through the
15 four arms. It's on this floor, on this diaphragm
16 floor, there are three of them. It's the
17 drywell/wetwell pressure. These are the drywell here.
18 Okay. And the flow comes up through here. It lifts
19 the plate and it goes outwards horizontally.

20 MR. ROSEN: How big across is that? You
21 said 20 inches across the opening. This is a big
22 thing.

23 MR. RAO: This is big.

24 DR. WALLIS: It's been tested --

25 MR. RAO: The whole thing is from here to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there. From here to where you are. I think all the
2 arms combined.

3 DR. WALLIS: It was tested in many cycles
4 of up and down.

5 MR. RAO: It was tested in many cycles.

6 DR. WALLIS: You put sand in there.

7 MR. RAO: We put sand in there. We put
8 all kinds of stuff in there to try to -- and we then
9 checked the leakage. There's a whole report on that
10 one. We can make that available to you also.

11 DR. WALLIS: Way different than what's in
12 the operating BWR.

13 MR. RAO: Yes. It's way different. It's
14 a lot better. This is that heat exchanger that we
15 talked about. This is the PCC. The steam comes up
16 the middle and goes on both sides. What we tested for
17 the IC was just one-half, because the steam flow was
18 limited. And it looks exactly the same because when
19 we first started the design, the IC/PCC were the same
20 design.

21 MR. ROSEN: Now those are just headers,
22 inlet and outlet headers that are bolted with bolted
23 flanges.

24 MR. RAO: This one?

25 MR. ROSEN: No, next to the guy who is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 standing there.

2 MR. RAO: This one?

3 MR. ROSEN: Yeah.

4 MR. RAO: Yes, these are just flanges.

5 MR. ROSEN: And if you take that flange
6 off, you removal all the bolts --

7 MR. RAO: You can go --

8 MR. ROSEN: It's just a header. Right?

9 MR. RAO: Yeah, it's just a header.

10 MR. ROSEN: Is it a safety header?

11 MR. RAO: Yes. Okay. You've seen these
12 with actual -- okay. This was what Bharat was talking
13 about. You've seen these before. And basically, what
14 we are asking right now is approval of TRACG for ESBWR
15 analysis and, you know, we want to keep that guy
16 smiling and laughing that we had on the cartoon
17 earlier. And we basically, you know -- I think you
18 folks have heard these presentations before. I'd like
19 to invoke Dana's comments when I first talked to the
20 Full ACRS Committee almost three or four years ago.
21 He said that -- I said if we make our submittals to
22 the NRC. He asked us how soon would we expect
23 approval. I said two weeks. He said well, bring them
24 something and show it to them, and they might do it.
25 And I do want to say that the one-year that the staff

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 has had to review this has been remarkably fast, and
2 we are really pleased with that review and the
3 response. And we hope that the ACRS can endorse the
4 idea of closure on at least --

5 DR. WALLIS: If we're being asked to
6 respond in two weeks --

7 MR. RAO: Well, Dana said the staff would
8 do it in two weeks. I assumed he said the ACRS would
9 do it in a couple of days.

10 MR. ROSEN: Anything the staff can do in
11 two weeks, we can do in two days.

12 DR. WALLIS: Now the ACRS acts as a whole
13 committee, not as a subcommittee like this one. And
14 you guys, I take it, are going to show up in the
15 February meeting.

16 MR. RAO: Yes.

17 DR. WALLIS: And we have something like
18 two hours total for everything. And I think one of
19 the things we need to know is how is that going to
20 work out, because we've had two days here, plus the
21 various meetings we've had with GE beforehand. How
22 are you going to put all the information in two hours,
23 one of which will be taken up with questions, so you
24 have one hour, all of you, staff and --

25 MR. RAO: Staff, yes. We'll have to --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: I take it's going to be
2 mostly the staff presentation.

3 MR. RAO: Right.

4 DR. WALLIS: Three-quarters staff,
5 something like that. Three-quarters staff.

6 MS. CUBBAGE: We have not set the agenda.
7 WE certainly would take your recommendations.

8 DR. WALLIS: I think you have to think a
9 lot about that agenda.

10 MS. CUBBAGE: I'm sorry?

11 DR. WALLIS: You have to think a lot about
12 what that agenda should be given what we've heard
13 here.

14 MS. CUBBAGE: Yes.

15 MR. ROSEN: Well, let's start with what
16 they want. If they want a letter, right?

17 MR. RAO: ACR.

18 MR. ROSEN: You want a letter from ACRS.

19 MS. CUBBAGE: The staff, yes.

20 MR. LANDRY: That says yeah, we think we
21 agree with you that it's applicable.

22 MR. FORD: Well, I think that's the first
23 thing they've got to decide, applicable or is it going
24 to be approved.

25 MS. CUBBAGE: And I just wanted to back up

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a little bit and clarify from the staff's perspective.
2 It may have appeared to the Committee that there was
3 a disconnect between what GE was asking for, and what
4 we were saying in our evaluation, but I just wanted to
5 make it clear that from the beginning, the staff has
6 had an understanding of the purpose of the review, and
7 GE's desire for approval. And that was the framework
8 in which we approached this review. And maybe here
9 during the meeting we didn't express ourselves clearly
10 enough on what our conclusions were, but our intent
11 was that it was applicable and approved.

12 DR. WALLIS: So your intent is to go along
13 with what GE is asking for?

14 MS. CUBBAGE: Our intent is that we have
15 concluded that we can approve TRACG for these
16 applications.

17 DR. WALLIS: So you're going along with
18 what GE is asking for. There's going to be no more
19 work on TRACG, and no more tests needed?

20 MR. RAO: No, there obviously -- you know,
21 the staff identified some items that needed to be
22 done. There are all those caveats, and all that go
23 with it. The only word was about approval, and I
24 think we are in the same boat.

25 DR. WALLIS: So there might be some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 further modifications to TRACG?

2 MR. LANDRY: I think what we may end up
3 doing - we haven't worked out the exact words yet. We
4 were trying to work out a good sounding conclusion for
5 the SER. What we may do is fall back on the
6 regulatory terminology. We may say something to the
7 effect - I don't need to be quoted on this - that
8 TRACG is acceptable and approved for reference FAR.
9 Use those regulatory words, that it's approved and
10 acceptable for reference, et cetera. So that's the
11 normal terminology we use with a topical report, that
12 it's approved for reference, and that may be the
13 terminology we have to fall back on. We were trying
14 to be a little more creative in our wording this time,
15 but maybe what we have to do is just fall back to the
16 old position, the old statements.

17 MR. FORD: For a non-lawyer, could you
18 tell me what something is approved for reference?

19 MS. CUBBAGE: That's how we typically
20 would approve a topical report. We approve it for
21 reference in a future licensing application, so that
22 it basically says that the staff has concluded - it
23 depends on what the topical report is for, but that it
24 can be referenced, and that that part would not be re-
25 viewed as part of the licensing application.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. FORD: All right. So GE comes along
2 with --

3 MS. CUBBAGE: Design certification
4 application.

5 MR. FORD: Design certification, it used
6 TRACG for a LOCA or GDSC --

7 MS. CUBBAGE: Right. And as long as
8 they've used it within the range of applicability.

9 DR. RANSOM: Is that the same as what was
10 done for -- the same kind of approval?

11 MR. LANDRY: Yes. We said that the code
12 was acceptable for reference in appropriate designs.
13 But there we said they had to provide certain
14 information, or since this was a general code, they
15 had to for this specific application provide the
16 nodalization and the proper sensitivities, and the
17 proper verification that the plant parameters, et
18 cetera, et cetera, were within the range of those
19 assumed, or the generic calculations that were
20 performed. Now this is a little different case
21 because it's a code specifically for one specific
22 design, so we're not saying all those same words in
23 this conclusion.

24 DR. RANSOM: I'm wondering how does the
25 nodalization come into play here? You're approving

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the way that they applied it?

2 MR. LANDRY: Here that they can reference
3 the code, but when they apply the code to the actual
4 design, then they must meet all the rest of the
5 requirements of 50.46, requirements which state that
6 they have to do proper sensitivity studies, because we
7 have not reviewed it with reference to the exact
8 hardware design. So now when they have the exact
9 hardware design, they must demonstrate that they are
10 nodalizing the proper manner, and so forth.

11 MR. FORD: I think it would be very useful
12 at the very beginning of your two hour meeting, that
13 it is very clear as to what we're supposed to be
14 considering, and the caveats. And then go through the
15 argument as to why you come to that conclusion. To
16 tell us up front what you're wanting us to approve.

17 MS. CUBBAGE: So basically start with our
18 conclusions, and then go into the basis.

19 MR. LANDRY: This is the focus of the
20 review, and where we're trying to go. Here's how we
21 get there, and here's the conclusion, which try to
22 keep the focus where it should be. Thank you.

23 MR. FORD: I think the other aspect, it
24 must be brought up at the very beginning, is what
25 their acceptance criteria are.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: I think you need to think a
2 bit about that, you know, what's the basis for
3 accepting, why did you accept?

4 MR. FORD: Well, to use their -- GE's --

5 MR. LANDRY: We also heard pretty clearly
6 the Subcommittee's recommendation that we focus more
7 on figures and curves, and less on words.

8 DR. WALLIS: Well, I like the summary that
9 GE gave, which they had a matrix of all the phenomena,
10 and how the various experiments supported the
11 phenomena. And then they had a matrix of how the
12 various results enabled them to assess the
13 uncertainties in all these variables, and so on, how
14 this fed into the uncertainties that eventually come
15 out of their calculation in the level, in the chimney.
16 That seemed to be a logical sequence of events. I
17 don't know if that's the way you felt. They went
18 through the CSAU process, but I mean, that's okay. We
19 know they did that, but what's the sort of the real
20 substance of what they discovered and used in doing
21 the process? And I think that is the substance of
22 what they discovered and used, the data, the
23 derivation of uncertainties, the use of uncertainties.

24 MR. SIEBER: It sort of brings to mind a
25 question that I had all along, having once been a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 licensing manager. The tendency is when you do tests
2 and experiments, and compare them to the analysis, you
3 make the comparison and you say this parameter agrees
4 pretty close. This one agrees pretty close, and you
5 do uncertainties. And then all of a sudden you look
6 and you say, but this one doesn't agree very close.
7 Should I tell them? Were there instances where you
8 had secondary parameters that you really didn't report
9 that made you scratch your head, but say, you know,
10 I'm not exactly sure that this is consistent with the
11 tests that we ran. Do you understand my question?

12 MR. FORD: What are you hiding?

13 MR. SIEBER: Well, you don't hide it from
14 the staff, because generally speaking, they want to
15 see your results, and so when they look at them, it's
16 there, so why bother hiding, you always tell them.
17 But the question is, do you know of any instance where
18 your analytical results from TRACG are inconsistent
19 with any part of the test data?

20 MR. GAMBLE: I have just one minor comment
21 on that. I don't know that it's an inconsistency, but
22 we've displayed with you here the lack of ability in
23 many cases to get the timing of non-condensable
24 movement. I mean, that's the type of thing where
25 there were large differences, and we've managed those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 through a bounding approach, but they're not --

2 MR. SIEBER: That's sort of a subtle thing
3 though, because it depends on very small forces, so
4 the timing would seem to me, is not particularly
5 important. But that's the kind of thing I think
6 people need to look at individually to make sure that
7 there is nothing out there that would invalidate a
8 general conclusion that you would draw from an
9 analysis of the transient or accident statement.

10 MR. SHIRALKAR: This is Bharat Shiralkar.
11 I think we made it a point to make a listing of the
12 limitations and instances we did not predict things
13 well, and why that was, we thought, okay. There's a
14 separate section in our assessment report.

15 MR. SIEBER: Well, that's part of the
16 CSAU, actually. But I think that's an important part
17 of doing this kind of work. It's important for the
18 staff, it's important to the applicant. And it's
19 important for us.

20 DR. RANSOM: I had a question I meant to
21 ask earlier to GE, and that is, what are the largest
22 challenges, I guess, that you faced in application of
23 the code to this, or what are the weakest places? I
24 mean, you've been at TRACG for what, 15 years I guess,
25 and gone through a lot of evolution from the TRAC PD-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 1. I'm wondering in this application, what are you
2 considering to be the major challenges?

3 MR. SHIRALKAR: Well, that's a tough
4 question to answer, I think, but it turns out that
5 this system is so forgiving that you can do a lot of
6 things that are dumb and still end up in the right
7 ball park. Because it's ultimately governed by just
8 a few parameters, you have so much water in the
9 system. The transport of non-condensibles, for
10 example, it's hard to track or calculate. You hit
11 that several times, and we don't handle mixing and
12 stratification very well. And we've had to come up
13 with processes to handle that, but that's probably
14 been our biggest challenge, the mixing and transport.

15 DR. RANSOM: And when you say it's very
16 forgiving, I guess you're like the three-volume system
17 that you used for some of the work. It had the
18 essence, I guess, of --

19 MR. SHIRALKAR: No. I'm saying, for
20 example, take the instance of PCC heat transfer. Even
21 if you're off somewhat on the PCC heat transfer,
22 typically you have excess capacity after say three or
23 four hours. And so if all that it does, is it holds
24 up -- if you're off on a prediction, it just holds up
25 a different amount of non-condensable in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 condenser, but it doesn't change the heat removal.

2 DR. RANSOM: All right. I think that's
3 been everybody's biggest fear, is that the non-
4 condensibles would somehow stall the condenser, and
5 that it wouldn't work. But I think that's been pretty
6 well dispelled.

7 MR. SHIRALKAR: The condenser works
8 amazingly well. It's self-regulating and purges, and
9 holds non-condensibles from all the decay.

10 DR. RANSOM: We did with modeling the
11 SBWR, had problems with levels in the wetwell. You
12 know, when levels cross boundaries in the
13 nodalization, some strange phenomena happened, water
14 packing being one of them.

15 DR. WALLIS: That's where level tracking
16 is supposed to work, to save you from that.

17 DR. RANSOM: Hopefully eliminate some of
18 that. I don't know. You don't see problems like that
19 in the code?

20 MR. SHIRALKAR: No, I think our level
21 tracking is working very well. There is no pressure
22 spiking, or water packing issues.

23 MR. ROSEN: There was one question that
24 Graham Leitch asked that wasn't answer. Take us
25 through a normal start-up.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: That's not a safety issue.
2 Not a TRACG that was applied to LOCA, sort of
3 irrelevant to this.

4 MR. SIEBER: This analysis doesn't apply
5 to that.

6 DR. WALLIS: I think it's interesting, but
7 it --

8 MR. SIEBER: Sooner or later we'll get to
9 that. It probably just doesn't apply to the
10 application --

11 DR. WALLIS: I think we need to sort of
12 wind our meeting. And I had three things. One really
13 is advice for these folks on the presentation to the
14 Full Committee. And one is any -- sort of how do we
15 prepare a draft letter, and the other one is, are
16 there some action items that need to be addressed
17 between now and then? On the latter one, I think that
18 Shanlai agreed to clarify some of these level gravity
19 conservation things with Vic Ransom.

20 MS. CUBBAGE: Yes, I have that.

21 DR. WALLIS: I think that GE agreed to
22 clarify the matter of regime transitions in the
23 chimney, and how long it took to go from first or
24 whatever it is to turbulent, or whatever the regime is
25 in the chimney. I think that you agreed to do that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. CUBBAGE: I have that one, as well.
2 Yes.

3 DR. WALLIS: I think that there was an
4 agreement to try to quantify, not just say that
5 CONTAIN is different from TRACG, but give some
6 quantification about the fact that the deviation is
7 reasonable in terms of --

8 MS. CUBBAGE: Yes, we have that.

9 DR. WALLIS: Do you have some other action
10 items you picked up from this? I intend to read the
11 transcript too. I think it's an important issue. I'd
12 like to go read the transcript and see if I -- I'm
13 sure I said some stupid things, but apart from that,
14 get some substance from the transcript. Now do you
15 have some other action items that need to --

16 MS. CUBBAGE: There is the issue that Ed
17 Throm was going to take a look at his conclusions
18 about 100 percent steam. We talked about that.

19 DR. WALLIS: Yes, 100 percent is really
20 not the right word to use. Right. That's right.

21 MR. LU: I just have a quick question. I
22 thought that Charlie and I went through that, Graham,
23 with you during the lunch hour. Is that still
24 something you need us to prepare to resolve that
25 issue?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. RANSOM: On the hydrostatic --

2 MR. LU: Yes.

3 DR. RANSOM: Well, I certainly like to see
4 something on what we discussed.

5 DR. WALLIS: All right. And then I'm
6 going to read this Ontario Hydro report, and there's
7 a Wilson report or something too, which you're going
8 to get for me. Is there anything else that the
9 members need between now and February in order to
10 complete their study of evidence?

11 MR. ROSEN: I thought I was promised a
12 look at the qualification report for the vacuum
13 breakers. I don't know whether I need that for
14 February, but --

15 MR. RAO: We can get a copy of that, the
16 whole test report.

17 MR. LANDRY: All that material should have
18 been on one of the CDs that we provided to you over a
19 year ago.

20 MR. ROSEN: Maybe if you could point it
21 out to me. I have the CD.

22 DR. WALLIS: Now on the presentation to
23 the Full Committee, it seems to me that you're going
24 to boil down the presentation we have heard here.
25 There's going to be sort of an overview from staff

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about what they're being asked to approve, what they
2 are approving, the CSAU process and so on, but the
3 question I have is, who is going to give what I call
4 the convincing evidence? And we started off
5 yesterday, and you started off giving the kind of
6 usual regulatory presentation, which doesn't tell you
7 anything about the nitty gritty. And then we said
8 okay, we wanted to hear the nitty gritty. I think we
9 heard a lot of that today. How are you going to put
10 that across to the Full Committee? Because if you
11 just do the regulatory stuff, then I guess the only
12 thing that the Committee can do if you don't tell them
13 the nitty gritty, is to turn to the Subcommittee and
14 say well, did you get into the details, and are you
15 satisfied?

16 MR. LANDRY: As Amy said, we haven't
17 worked out the agenda for the meeting yet. That will
18 come out as we develop the agenda, how we're going to
19 break out the presentations.

20 DR. WALLIS: Maybe it would help, I guess
21 Ralph or somebody here, as well, about the --

22 MS. CUBBAGE: Yes.

23 MR. LANDRY: Right. We understand your --
24 you and I said a few minutes ago, we understand the
25 recommendations of the Subcommittee that we focus more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on --

2 DR. WALLIS: But you can't do it all. You
3 can't do it all, so how are you going to put it
4 across?

5 MR. LANDRY: We will work out how we're
6 going to do this.

7 DR. WALLIS: You're confident that you can
8 do that. You don't need any more advice from this
9 Subcommittee.

10 MR. LANDRY: I hate to turn down your
11 advice, Graham.

12 DR. WALLIS: The last thing you need is
13 more advice.

14 MR. SIEBER: You may be able to streamline
15 it just by having a relatively brief section on what
16 it is you're specifically, you would intend to
17 approve. Secondly, what the code actually is and what
18 it does. And then the comparison of the four or five
19 component tests and the integrated test data, and say
20 these are the applications which we find that the code
21 is suitable for use. And that would be about it. You
22 could cut out a lot of other stuff.

23 DR. WALLIS: This logical matrix of how
24 the tests address the phenomena and how they
25 established uncertainties. Can GE do that in six

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 slides or something?

2 MR. SIEBER: I think they already have the
3 gist of the slides put together as we just saw them.

4 DR. WALLIS: Yes, but if they did all of
5 this, it would take too long.

6 MR. SIEBER: Right. But there's only four
7 or five separate effects, and tests out there.

8 DR. WALLIS: Yeah. I thought Bharat's
9 presentation was very helpful there.

10 MR. SIEBER: So I think if you went
11 through that with either some graphics that showed
12 variations with time or what have you, or the tables
13 that showed deviations and the degree of accuracy, and
14 then just made the statement. We didn't find any
15 anomaly that had an impact on the use of the code for
16 safety-related purposes in these applications. And I
17 think you'd be there.

18 MR. FORD: Is that not a logical way to do
19 it, have GE start off.

20 MR. SIEBER: It's their code.

21 MR. FORD: What's new about this reactor -
22 I mean, one slide, two slides on that.

23 DR. WALLIS: If we Atam start, he'll take
24 an hour.

25 MR. FORD: And then go through the -- and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the staff comes and says what their conclusion is, and
2 then show us how that came to it.

3 DR. WALLIS: Give good pictures at the
4 beginning so that the Full Committee can visualize
5 what's going on.

6 MR. SIEBER: I guess the SER is written on
7 the CSAU process, as well as the work you did. On the
8 other hand, I think if you go through all the steps,
9 say we did this to satisfy step one, here's all the
10 PIRT stuff. We did this to satisfy step two, it will
11 take you at least three days to do it all, so I would
12 not go beyond saying there's 12 steps or whatever it
13 is to the CSAU process, and we followed them
14 rigorously for 11, in general for one other, and then
15 just launch into the important areas.

16 MR. FORD: You can always have the backup
17 slides, should one of the other members who hasn't
18 been here, ask a question.

19 MR. SIEBER: Yes. Let's hope all the
20 questions have already been asked, and now all it is
21 is Dana and George. And unfortunately, they both ask
22 a lot of questions.

23 MR. FORD: And Mario.

24 MR. SIEBER: Oh, Mario. Yes.

25 DR. WALLIS: I'd like to see George ask

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 some thermalhydraulic questions.

2 MR. SIEBER: Peter can't say anything
3 because he's a former retiree.

4 DR. WALLIS: Well, maybe you were all very
5 clever in the way you organized this. I felt that in
6 the beginning, as is quite evident from the questions
7 asked, that just seeing the sort of regulatory words
8 with no evidence at all, I would have said no way I'm
9 going to approve this. I want to see something
10 definite. And maybe that was your intent, was to get
11 us exercised and keep the suspense up so that we came
12 in today we would then be converted. But I don't
13 think that's the way to go about the Full Committee.

14 MR. LANDRY: We realize that with the Full
15 Committee we have much less time, and that the
16 presentation needs to be very focused, and very strong
17 in support of the conclusion. So we understand that.

18 DR. WALLIS: Yes.

19 MR. SIEBER: Scaling and validation are
20 key issues.

21 DR. WALLIS: Because I think the problem
22 that the ACRS has had with these is that you have GE,
23 who has worked on this problem for a long time, a lot
24 of man-hours, a lot of expertise. They ought to know
25 their way through this up, down, and sideways, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 everything. They can answer every question. And then
2 they submit something, and the question that we have
3 is the staff comes along, says oh, we've made our
4 conclusions. Everything is fine. But what we really
5 need to assure ourselves about is that the staff knew
6 what they were doing, they knew how to ask the really
7 incisive questions. They knew how to have criteria
8 for saying yes, this is good enough, and so on.
9 That's what we sort of need to assure ourselves about.
10 I mean, it's pretty certain that GE is pretty well-
11 informed about this thing, but did the staff know
12 enough, think about it enough, ask the right questions
13 in order to make decisions, and were the decisions
14 based on guess work or real solid footwork and
15 understanding. I think that's the thing that needs to
16 be assessed. The staff is really the one that's on
17 the spot here.

18 MR. LANDRY: We'll do our best to make
19 that clear, or make it clearer.

20 DR. WALLIS: Yes.

21 MR. SIEBER: You may want to address the
22 thought, you know, when I reviewed this, it seemed to
23 me that General Electric probably spent a fair amount
24 of time trying to decide what testing am I going to
25 do, because I don't want to do one more test than I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have to. And so then I struggled with the thought,
2 did they do enough. And I came to the conclusion that
3 CSAU says use a PIRT process, and you test all the
4 phenomenological things that are going to happen, and
5 the advantage was you used full size devices from a
6 height standpoint which, to me, makes the scaling much
7 -- I have more confidence in the scaling to do that.
8 But there is not a lot of test data there upon which
9 you base your code, I don't think. So my question all
10 along has been, is there enough to justify it. And I
11 guess over the last two days, and last couple of
12 months of reading that I came to the conclusion that
13 there's probably enough, but there isn't much extra.
14 I don't know if anybody else came to that conclusion
15 or not.

16 DR. WALLIS: I feel a little nervous about
17 approving in every aspect what we heard here about
18 scaling. It seems to me a somewhat dynamic thing
19 where you do something, and then consultants do
20 something better, and they did something better. The
21 scaling thing is probably okay, but I wasn't so
22 confident that it had been really wrapped up.

23 MR. SIEBER: Well, at least they aren't
24 working with miniature models where you're scaling in
25 dimensions.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: Where you can scale something
2 full scale, you see some critical thing, you can scale
3 the -- test it as near as possible to full scale, like
4 the chimney, that's the way to go. Much more
5 convincing than some argument about scaling, something
6 which looks like it but isn't quite like it. Then you
7 have to go through very much more rigorous arguments
8 about why this is okay.

9 DR. RANSOM: Well, the argument -- I've
10 never quite understood this desire to try to match
11 things exactly, and that's what the purpose of the
12 codes are, to at least scale over some range. And so
13 if you can apply the code and then make the proper
14 adjustments in volumes, heights, whatever, and apply
15 the code to the actual animal, it's a way of scaling,
16 actually. And we did go one step further in PUMA, in
17 that we built what we called an ideal scaled plant,
18 which was a plant scaled down to the same scale as
19 PUMA, and then compared PUMA results to that. And
20 that all fit together fairly well. You know, the full
21 scale SBWR, the ideal scaled SBWR, and then the PUMA
22 results. And you can overlay all three of these with
23 a time scale, of course, because the height was
24 changed. But that, to me, was quite a convincing
25 argument that the methods that are used in the code

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are okay, and represent what you're seeing in the
2 experiment.

3 DR. WALLIS: Well, I'm going to go and
4 look back at the documentation that we were went. I
5 must say, as I said at the beginning, I had a lot of
6 difficulty getting my arms around it. The
7 presentations we heard here have been helpful. I just
8 hope I don't find something in there that I need to
9 question.

10 MR. SIEBER: Well, there are some choices
11 that were made, particularly in the two-phase flow are
12 in your documentation that I wasn't sure I agreed with
13 until I decided the idea is to be able to analyze and
14 get the answer that looks like the test data, as
15 opposed to having every little piece of logic laid out
16 so that I will accept this.

17 DR. WALLIS: Well, I would like, rather
18 than trying to summarize and going around the table,
19 although I'd welcome statements by all members now, I
20 would really like each one of you to send me an e-
21 mail, something to help me write a draft letter. You
22 know, when you thought about, what it is you'd like to
23 see in our draft letter, rather than just off-the-cuff
24 comments now, which might be useful to GE and the
25 staff, but for the purpose of writing a letter, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 would really like all the members to write me
2 something on paper, to help me draft the letter.

3 MR. ROSEN: Electronic advice.

4 DR. WALLIS: Electronic advise, yes.

5 MR. FORD: I take it, I'm not allowed
6 to --

7 DR. WALLIS: You're allowed to write me
8 anything.

9 MR. SIEBER: We aren't obligated to listen
10 to you.

11 DR. WALLIS: You aren't allowed to write
12 me anything, okay. So I can send him my draft and say
13 do you agree. Is he allowed to do that? Not even
14 allowed to do that, okay.

15 MR. SIEBER: We'll let Peter --

16 DR. WALLIS: Is that okay? Do you folks
17 feel that -- write me some e-mail?

18 MR. SIEBER: I can do it.

19 MR. ROSEN: Well, I think I learned a lot
20 more than I can help you with.

21 MR. SIEBER: Our biggest need is stick to
22 the subject.

23 DR. WALLIS: Well, I would like to, if I
24 write a letter, reflect the views of the Subcommittee,
25 not my own. And I think the only way I can get those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 views is for you to tell me what they are. I think
2 it's probably best -- I think it's an important enough
3 matter that I'd really like to be secure in deciding
4 what to write.

5 MR. SIEBER: Well, once we sign off on it,
6 they're going to use it.

7 DR. WALLIS: Yeah, it's going to be an
8 important matter, and I think it's something that --
9 the kind of thing that the ACRS has pleasure in doing
10 if it's done well. And here's a new reactor that can
11 be born. If we do a good job, it'll be a good piece
12 of equipment.

13 MR. ROSEN: You get two more shots at
14 this. We get the shot at the other calculations, and
15 then we get the shot at the design certification
16 stage.

17 DR. WALLIS: Well, the pleasure to me is
18 not in the shooting, whatever the staff may imagine.

19 You know, the pleasure is in the results, or the way
20 we might have influenced events in the long term for
21 the benefit of the public essentially. It's 5:00. Of
22 course, we worked it out to end at 5 precisely. Am I
23 allowed to do that, or does anyone want to have some
24 more words? So the transcript will be available to
25 us, the entire transcript, but GE -- it's available to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 GE too.

2 MR. CARUSO: GE could come -- the
3 transcript will be proprietary. I will have copies,
4 and if they wanted to come in, I could put them in a
5 room and let them see it.

6 DR. WALLIS: But you can't send it to
7 them, even though it's proprietary --

8 MR. CARUSO: It's one of these --

9 DR. WALLIS: GE proprietary data.

10 MR. CARUSO: It's one of these strange
11 things that if they want it, I'll see what I can do
12 about it.

13 DR. WALLIS: Okay.

14 MR. SIEBER: It's a public document. It's
15 just that nobody is allowed to read it.

16 MR. CARUSO: Well, no. Actually, probably
17 they are allowed to see.

18 MR. SIEBER: They are, yes.

19 MR. CARUSO: Probably they are. I mean,
20 I just have to figure out how to do it. That's all.

21 DR. WALLIS: Yeah. It will probably be
22 useful for them to look it over.

23 MR. CARUSO: It should be doable.

24 DR. WALLIS: Okay. May I close?

25 DR. RANSOM: Is the transcript available

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 through the NRC site?

2 MR. CARUSO: It goes on Atam's, but it's
3 only the non-proprietary version that goes on Atam's.

4 DR. WALLIS: Does it go on the web? It
5 used to go on the web.

6 MR. CARUSO: Yes.

7 DR. WALLIS: But that's the non-
8 proprietary one.

9 MR. SIEBER: But you will find --

10 DR. WALLIS: So can you get me the
11 proprietary one?

12 MR. CARUSO: I'll --

13 DR. WALLIS: Can you send it to me
14 electronically or something, so it's there in a packet
15 and I can get it. I don't have to go through -- I
16 don't want to go through Atam's. I'll never find
17 anything.

18 MR. CARUSO: I'll put it on a CD for you.

19 DR. RANSOM: And you'll send me a copy.

20 DR. WALLIS: Okay.

21 MR. CARUSO: I'll send everybody a copy.

22 DR. WALLIS: Okay. That would be helpful
23 I think. Thank you. I have so many CDs at home, I
24 probably -- please put something on it so it's not
25 just a blank CD, and after a while I don't know what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it is. Write on it what it is. Okay? Can I close
2 the meeting?

3 MR. SIEBER: It's your meeting.

4 DR. WALLIS: I'd like to thank everybody
5 for their patience and their technical contributions,
6 and the general professionalism with which you have
7 done your work the last couple of days. Thank you
8 very much.

9 (Whereupon, the proceedings in the above-
10 entitled matter went off the record at 5:03 p.m.)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701