

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Wednesday, November 3, 2004

Work Order No.: NRC-091

Pages 1-164

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION
+ + + + +
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
(ACRS)
PLANT LICENSE RENEWAL SUBCOMMITTEE

+ + + + +

WEDNESDAY,

NOVEMBER 3, 2004

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Subcommittee met at the Nuclear
Regulatory Commission, Two White Flint North, Room
T2B3, 11545 Rockville Pike, at 1:30 p.m., Mario V.
Bonaca, Chairman, presiding.

COMMITTEE MEMBERS:

MARIO V. BONACA	Chairman
RICHARD S. DENNING	Member
GRAHAM M. LEITCH	Consultant
VICTOR H. RANSOM	Member
WILLIAM J. SHACK	Member
JOHN D. SIEBER	Member

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 GRAHAM B. WALLIS Member

2

3 ACRS STAFF PRESENT:

4 CAYATANO SANTOS

5

6 OTHER NRC STAFF PRESENT:

7 KENNETH C. CHANG, NRR

8 CAUDLE A. JULIAN, Region II

9 PT KUO, NRR

10 SAM LEE, NRR

11 TILDA LIU, NRR

12

13 ALSO PRESENT:

14 JAN FRIDRICHSEN, Southern Nuclear Operating Company

15 PARTHA GHOSAL, Southern Nuclear Operating Company

16 WAYNE LUNCEFORD, Southern Nuclear Operating Company

17 MICHAEL MACFARLANE, Southern Nuclear Operating

18 Company

19 CHARLES PIERCE, Southern Nuclear Operating Company

20

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A-G-E-N-D-A

I. Opening Remarks, M. Bonaca, ACRS 4

II. Staff Introduction, P. T. Kuo, NRR 5

III. Farley License Renewal Application, Jan
Fridrichsen, Southern Nuclear Operating
Company 14

IV. SER Overview:
T. Liu, NRR 83
C. Julian, Region II 94

V. Aging Management Program Review and Audits:
T. Liu, NRR 102
K. Chang, NRR 109

VI. Time Limited Aging Analyses (TLAAs),
T. Liu, NRR 133

VII. Subcommittee Discussions, M. Bonaca, ACRS 161

VIII. Adjourn, M. Bonaca, ACRS 164

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

1:30 p.m.

1
2
3 DR. BONACA: Good afternoon. The
4 meeting will now come to order. This is a meeting
5 of the Plant License Renewal Subcommittee. I am
6 Mario Bonaca, Chairman of the Plant License Renewal
7 Subcommittee. The members in attendance are Richard
8 Denning, Victor Ransom, Steven Rosen, William Shack,
9 Jack Sieber, and Graham Wallis. ACRS consultant
10 Graham Leitch is also present. Cayatano Santos of
11 the ACRS staff is the designated federal official
12 for this meeting.

13 The purpose of this meeting is to discuss
14 the license renewal application of the Joseph M.
15 Farley Nuclear Station Units I and II. We will hear
16 presentations from the NRC Office of Nuclear Reactor
17 Regulation, the representatives of the Southern
18 Nuclear Operating Company.

19 The Subcommittee will gather information,
20 analyze relevant issues and facts and formulate
21 proposed positions and actions as appropriate for
22 deliberation by the full committee. The rules for
23 participation in today's meeting have been announced
24 as part of the notice of this meeting previously
25 published in the Federal Register on October 5, 2004.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 We have received noted incumbent's request
2 for time to make oral statements from members of the
3 public regarding today's meeting. The transcript of
4 the meeting is being kept and will be made available
5 as stated in the Federal Register notice. Therefore,
6 we request that participants in this meeting use the
7 microphones located throughout the meeting room when
8 addressing the subcommittee.

9 The participants should first identify themselves
10 and speak with sufficient clarity and volume so they
11 may be readily heard.

12 We will not proceed with the meeting. I
13 call upon Mr. Kuo of the Office of Nuclear Reactor
14 Regulations to begin.

15 DR. KUO: Thank you, Dr. Bonaca. Good
16 afternoon. For the record, I'm P.T. Kuo, the Program
17 Director for the License Renewal and Environmental
18 Impacts Program. On my right is Dr. Sam Lee who is
19 the Second Chief for Project Management Section. To
20 my extreme right is Tilda Liu who is the Senior
21 Project Manager for this project.

22 As you indicated, today the staff will
23 brief the committee on the Farley License Renewal
24 Application Review. You may recall that Farley is the
25 first power plant that uses what we called audit

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 review process for the Aging Management Program parts
2 that are consistent with GALL, consistent with our
3 previous staff approved positions.

4 This presentation will have three parts.
5 The first part will be led by Tilda who will discuss
6 the general review of the whole project. And the
7 second part will be the inspection review that will be
8 lead by Caudle Julian from Region II. He is the team
9 leader of the inspection. And then the third part is
10 audit review process led by Dr. Kenneth Chan who is a
11 team leader for the audit team.

12 Because the audit process is new and this
13 is the first plant, I would really like to say a few
14 words specifically about the audit process. As you
15 may recall, we have briefed the committee some time
16 ago that we generally have a team that consist of
17 about seven to 10 people that include both the staff
18 members and contractors with different enduring
19 disciplines that includes material structures,
20 mechanical, and electrical.

21 They will stay on site about two to three
22 times during the audit. Each time is about a week.
23 They stay on site, perform their review. When they
24 come back they prepare the report, address all the
25 issues that they have discussed with the applicant.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We believe this process so far as been
2 very successful. From the feedback we got from the
3 industry, I think all the feedback appears to be
4 pretty positive. We applied this process to all our
5 recently received applications. So for that purpose
6 we really appreciate if you have any comments on this
7 process and we would like to have them.

8 MR. LEITCH: PT, one of the measures of
9 success was going to be, at least in part, the number
10 of RAIs. Did this result in less RAIs than previous?

11 DR. KUO: Well, we have been successful to
12 some extent. We have not reached the degree that we
13 really like to see. For Farley I think we had about
14 186 or 187 RAIs. 153, okay. That's even better.
15 Previously we had between 200 and 300. The reduction
16 is not as significant as I would like to have but
17 because this is the first audit plan, I give it some
18 time. I would expect that the RAIs will go down
19 somewhat more.

20 MR. LEITCH: I'm a little confused. I
21 read a report that was about in the April 2004 time
22 frame, the result of a team. I think it was led by
23 Jimi Yerokun that looked at the process and looked for
24 ways to improve the process. They had a number of
25 recommendations, coordination, communication, and some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 improvement to the flow of the process. Is this a
2 result of that report or is there still some further
3 improvement to the process based on the
4 recommendations of that report? Are you familiar with
5 the report I'm speaking of?

6 DR. KUO: Yeah, I know. They are
7 separate. Jimi Yerokun's assessment team was to
8 assess the effectiveness of these scoping and
9 screening part of review. That is being done by
10 another division. The process that I'm talking about
11 now is the process that deals with the Aging
12 Management Program.

13 MR. LEITCH: Okay. Is there a plan to
14 implement the recommendations, or at least consider
15 the recommendations that were in that April report?

16 DR. KUO: The recommendations are being
17 implemented right now.

18 MR. LEITCH: Okay.

19 DR. KUO: Actually, the Browns Ferry --
20 I'm sorry, Brunswick will be the first implementation.
21 For instance, at the end of the recommendation we talk
22 about the 54.4(a)(2) issue that would be probably
23 better to be done by the region because they are at
24 the site. They look at the spacial arrangement of all
25 the hardware.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LEITCH: Largely dependent on spacial.

2 DR. KUO: Right. That would be done by
3 the region for Brunswick. We are, of course,
4 improving our coordination and communication among our
5 different groups.

6 DR. BONACA: You were asking about this
7 report, our opinions. This is the report that was the
8 audit review of the report. Right?

9 DR. KUO: Right.

10 DR. BONACA: Okay. I think it's a very
11 good audit actually. I think it was very insightful.
12 For a reviewer such as me complicated life because it
13 was repetition within the SER and this report so it
14 wasn't clear how you incorporated. I was sure that
15 you did but I had to look at it separately. The
16 question I would have is for the future are you
17 planning to still have a separate report like this or
18 are you trying to document it within the SER?

19 DR. KUO: No, separate audit report.
20 Every audit we will produce a report.

21 DR. BONACA: But you're reflecting these
22 insights already also in the SER because you are
23 referring to that.

24 DR. KUO: Right.

25 DR. BONACA: So you plan to maintain it as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 an audit document.

2 DR. KUO: Yes, sir.

3 MR. LEITCH: I had kind of the same
4 question as Dr. Bonaca. I had the audit and review
5 report before I had the draft SER and I reviewed it
6 and found it very helpful, by the way. I thought it
7 was well organized, easy to follow. Perhaps -- not
8 perhaps, it definitely was somewhat repetitive but it
9 was easy to follow and navigate one's way through. I
10 sort of thought when I got the draft SER what I might
11 find is this almost as a section in its entirety just
12 inserted in the SER because it did seem to be
13 repetitive to a lot of the information that was in the
14 SER.

15 DR. KUO: Some of it may be repetitive but
16 it was purposely done. We wrote the report with the
17 mind that this is going to be transferred to the SER.
18 The audit team is responsible for about 50 to 70
19 percent of the review consistent with GALL and
20 previously approved staff positions.

21 If after the audit report if we have to
22 write another SER, that is just too consuming and not
23 the efficient use of time. We prepared the audit
24 report with the mind that some of the content could be
25 transferred to SER so that we don't have to spend time

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to just simply write in this SER. But they did report
2 it has more details in it.

3 MR. LEITCH: I was thinking of just
4 further improvements in the efficiency of the process.
5 It seemed to me that this could almost be lifted and
6 become the major part of the SER.

7 DR. KUO: Maybe. We are constantly
8 looking at it and see if we can still improve on it.
9 If it turns out that we really don't have to prepare
10 an audit report and just go into the SER, we will do
11 that but what I'm afraid of is that some of the
12 details that now is currently in the report will
13 somehow not be seen.

14 DR. BONACA: Yes. Let me just say that
15 this has nothing to do with Farley specifically, of
16 course. For the purpose of a reviewer, I go in with
17 very specific operating interest in experience for
18 this plant, any plant, what they have gone through and
19 the applicable operating experience from other sites
20 and plants.

21 Second, the site characteristics, which
22 are unique to that site, which should make for the
23 kind of challenges there may be to the buried cable,
24 buried structures, the licensee's actions to improve
25 the plant, to maintain it, all those things. The more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 paper we get, the more difficult it is to focus on the
2 same issues because that's really the same issues. To
3 the degree to which it can be streamlined by including
4 one document into the other, I really wish you well.
5 I would like you to attempt it.

6 DR. KUO: Thank you.

7 DR. BONACA: Anyway, I don't want to
8 criticize the report. I thought it was an excellent
9 audit and, in fact, it provided a lot of good
10 information about the aging management problems.

11 DR. KUO: Thank you.

12 DR. SHACK: On the other hand, let me just
13 say I thought the SER was very good. This was really
14 one of the best SERs that we've seen on the license
15 renewal process. I thought it was very well organized
16 that a person reviewing the process could go through
17 and get all the information in a rather compact form.

18 DR. BONACA: It even had sections
19 separations, tabs.

20 DR. KUO: Thank you very much. Tilda will
21 be happy to hear that.

22 DR. BONACA: Okay. Well, with that --

23 DR. KUO: With that I would call the
24 Farley Southern Services to make a presentation first
25 and then the staff briefing will follow.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. PIERCE: My name is Charles Pierce.
2 I'm the manager for the License Renewal Program for
3 Southern Nuclear, and specifically for Farley. Jan
4 Fridrichsen, who is the license renewal licensing
5 manager for us, is now walking up to the front to make
6 his presentation. To my right now is Mike MacFarlane
7 who is our license renewal technical manager for
8 Farley as well.

9 I'm just going to make one or two quick
10 remarks. One, I do appreciate the opportunity to
11 speak to you all today. I do think that the NRC's
12 review has been very, very comprehensive. I think
13 consistent with the GALL process that was developed
14 has been a factor in that. I think if we go through
15 that you'll see how it has worked to improve the
16 overall process.

17 As another note, I've been working in
18 license renewal now since 1994. I'm an old timer
19 here. I've been working in licensing since the early
20 '80s off and on in various projects. Just as a point
21 of note, I do find that on the license renewal project
22 for the NRC that the NRC has been very progressive in
23 considering changes both internally in the industry
24 and moving ahead with those changes.

25 I think you see that with things

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 consistent with GALL issues that we have today, and
2 overall improving the process over time. I think that
3 speaks to their efforts and I'm glad to see that. I
4 think there are other changes that are being
5 considered now that I think would further improve the
6 process as well. Thank you very much.

7 MR. FRIDRICHSEN: Good afternoon. My name
8 is Jan Fridrichsen and I'll be conducting our part of
9 the presentation. Just to give you a rather quick
10 introduction of what we're going to talk about, we'll
11 talk a little bit about the application and its
12 background. Talk a little bit about the description
13 of Farley Nuclear Plant and features of the plant. A
14 little bit of our operating history. Talk a little
15 bit about the scoping process that we went through for
16 developing our application.

17 How we applied the GALL to developing our
18 application. We understand there's some interest in
19 the commitment process and how we manage commitments
20 and I'll have a little discussion on that and then
21 touch on some of the basic industry issues that are of
22 note before us this day and give you a little briefing
23 on what Farley is doing on those.

24 We submitted the application on September
25 12, 2003. Our original license exploration dates are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in 2017, 2021 for Units I and II respectively. The
2 application itself was a new process. It consisted of
3 -- it had to be consistent with GALL audits. It was
4 the first of its kind.

5 We had three inspections or audits and it
6 was focused on assessing our determinations consistent
7 with GALL adequate for the staff. We felt like, as
8 was commented before, it was a very successful
9 process. A lot of information was brought forward and
10 a lot of clarity was brought to the process.

11 What is Farley Nuclear Plant? It's a
12 three-loop, Westinghouse pressurized water reactor.
13 We had dual engineering services on the construction
14 of the plant. Bechtel was the interface between
15 Westinghouse and they did the engineering of the
16 Westinghouse systems and their integration plant.

17 Then Southern Company Services was our
18 power generation end of the plant, term building and
19 outside structures. They engineered that. Initial
20 operations, Unit 1 in 1977 and Unit 2 in 1981. We
21 generate approximately 910 megawatts per unit.

22 MR. LEITCH: Jan, perhaps this would be a
23 good time to raise this question while you have the
24 photograph there. I have a little trouble
25 understanding just what the general circulating water

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 versus safety service water, essential service water
2 or whatever you call it, is. Is there a lake some
3 place? In other words, I couldn't quite understand.
4 All the circulating water system and so forth is not
5 in scope. I guess that's primarily for the
6 condensers. Could you just talk about the essential
7 service water?

8 MR. FRIDRICHSEN: Okay. Not seen in that
9 photograph but the supply source water for plant
10 Farley is the Chattahoochee River. It's on the
11 Georgia/Alabama border. From that we pump to the
12 seismic, safety-related service water pond. From that
13 pond we supply essentially all the plant water needs,
14 safety-related needs and the makeup to the circulating
15 water system.

16 MR. LEITCH: Okay, but the circulating
17 water itself.

18 MR. FRIDRICHSEN: Well, it comes from the
19 service water system supply to the circulating water
20 system. Our service water, for example, our supply
21 flow per unit is about 40,000 gallons a minute and our
22 typical makeup to the circulating water system is
23 about 10,000 gallons a minute so once through is
24 approximately 30,000 gallons of water.

25 MR. LEITCH: So this pond is in scope

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 then?

2 MR. FRIDRICHSEN: Yes.

3 MR. LEITCH: And the pumps that feed the
4 water into the pond are not?

5 MR. FRIDRICHSEN: That's correct.

6 MR. LEITCH: Okay. I understand. Thank
7 you. I saw the picture but --

8 MR. FRIDRICHSEN: To give you a little bit
9 of information relative to plant performance for
10 Farley over the last five years, this graph represents
11 our capacity factors for Unit 1, Unit 2 outage
12 durations. You'll notice in the 2000/2001 time frames
13 we have asterisked data. Those two years we replaced
14 steam generators on each unit so the outages were a
15 little longer. Radiation exposure was a little
16 higher.

17 If you'll notice, though, as we go out
18 into 2002/2003 the exposure information or the
19 exposure data is extremely low. We have a very
20 aggressive dose program at the site. We attribute
21 quite a bit of that dose reduction to our zinc
22 injection project. I have some information on a later
23 slide about that. Farley's dose exposure for calendar
24 years is dramatically lower after we begin the zinc
25 injection.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. SHACK: Are your steam generators
2 sized to allow you to operate power?

3 MR. FRIDRICHSEN: Mike is the best one to
4 answer that. He was involved in the --

5 MR. MACFARLANE: Steam generator
6 replacement, the size of the steam generators was
7 actually picked to be a equivalent replacement to the
8 original steam generators. The original steam
9 generators were 50,000 square foot surface area design
10 but that was an alloy 600 tube. When the replacement
11 is in it's a 54,000 square foot to make up for the
12 difference in heat transfer characteristics. That's
13 not to say that the plant cannot support another up-
14 rate but the generators themselves were not really
15 selected on that basis.

16 MR. SIEBER: What's T-hot in that point at
17 full power?

18 MR. SIEBER: About 609 approximately.
19 Maybe 607.

20 MR. MACFARLANE: It's licensed to 613,
21 609 or 610 is what we actually run.

22 MR. FRIDRICHSEN: Our next slide is the
23 indicator of our NRC performance indicators were all
24 green and have been since the first order of 2001.
25 All our indicators have been green.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Some of the features of Farley. The main
2 point on the first one is that it's pre-stressed/post-
3 tension dry containment. We don't have the ice
4 condenser design. We have a safety related cooling
5 water pond. We have six off-site power sources
6 through interconnections with Southern Electric
7 System.

8 Five emergency diesel generators on site.
9 Four of those are the safety diesel generators. One
10 is the alternate AC power supply for station blackout.
11 Forced-draft cooling towers and we operate on 18-month
12 fuel cycles.

13 MR. SIEBER: What's the size of the off-
14 site power diesel generator in horsepower?

15 MR. FRIDRICHSEN: Twenty-eight-fifty
16 kilowatts.

17 MR. SIEBER: Okay.

18 MR. FRIDRICHSEN: And we have three 4075s
19 and another 2850.

20 MR. SIEBER: And they're 4160 volts?

21 MR. FRIDRICHSEN: That's correct.

22 MR. LEITCH: So in a station blackout you
23 don't assume -- I mean, the fifth diesel generator is
24 not lost. Right?

25 MR. FRIDRICHSEN: That's the assumption.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LEITCH: The assumption is that the
2 fifth diesel generators will still work in a station
3 blackout?

4 MR. FRIDRICHSEN: Yes. Mike is the
5 technical lead on all this stuff.

6 MR. MACFARLANE: Yes, the fifth diesel
7 dedicated to station blackout service. However, it
8 can be started and if you had an event where one of
9 your emergency diesels failed to operate, you could
10 start this SBO diesel and realign it but it is a B-
11 train setup and it serves strictly as the SBO diesel.
12 It was originally part of the emergency diesel
13 generator design and when the blackout rule came out
14 it was separated off as part of our licensing basis
15 for SBO.

16 MR. LEITCH: And that's the one that is
17 referred to as 2C.

18 MR. MACFARLANE: Correct.

19 MR. LEITCH: I was a little confused by
20 that as I looked through it. Now, do you have
21 ignitors in your containment?

22 MR. MACFARLANE: No. We have electrical
23 recombiners.

24 MR. SIEBER: Do you have cross-connects on
25 the 4160s between the units?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. FRIDRICHSEN: The way our normal
2 distribution system is is that there's an A and B
3 start-up transformer per unit. There is a capability
4 to supply power from one unit to -- from one start-up
5 transformer. The Bravo start-up transformer could
6 supply the A-train and the B-train if it has to. They
7 are interlocked not to allow that but they can.

8 MR. SIEBER: If you have one unit that was
9 black and the other one was on diesels, could you
10 cross-feed to the black unit? That would have been a
11 design change for you.

12 MR. FRIDRICHSEN: I'm not sure I can
13 answer that not knowing the latest procedures.

14 MR. LUNCEFORD: Are you talking about
15 doing it from the diesels crossing over one use
16 diesels to another one?

17 MR. SIEBER: Yeah.

18 MR. LUNCEFORD: I don't believe that can
19 be done other than this 2C diesel which can do either
20 units B-train and it's got the interlocks to allow
21 that to happen.

22 MR. SIEBER: Some plants can and some
23 can't.

24 MR. LEITCH: So except for the electrical
25 lash-up the five diesels are identical. Is that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 correct?

2 MR. FRIDRICHSEN: No, sir. There are
3 three large diesels and two small diesels. The large
4 diesels are 4070 kilowatt and the smaller is 2850.

5 MR. LEITCH: 2C is one of the smaller
6 ones.

7 MR. FRIDRICHSEN: That's correct.

8 MR. LEITCH: As is the 1C.

9 DR. BONACA: Your site is characterized by
10 non-aggressive groundwater. Right?

11 MR. FRIDRICHSEN: That's correct.

12 DR. BONACA: Okay. And you do have -- I
13 was speaking of the containment building and the
14 history is good there, although you had one cracked
15 tendon but that was a different issue, I guess.

16 MR. FRIDRICHSEN: I'll get to that on the
17 next slide.

18 To give a little bit of our operating
19 history, in 1983 we performed the up-flow mod on Unit
20 1. This was in response to a design issue with the
21 Westinghouse reactor vessels and the original design
22 was down-flow mod and that created a pressure stress
23 on the baffle former joint and it would open and it
24 caused baffle jetting on the fuel. We had some fuel
25 failures in 1983 so we did that up-flow mod to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 alleviate that problem.

2 In 1985 we had the cracked anchor head on
3 containment tendon on Unit 2. It was on the field-
4 installed end of the tendon and was due to hydrogen-
5 induced stress cracking. Then in 1988 Farley was the
6 subject of a Bulletin 88-08. We had a thermal cycling
7 event that was occurring due to bypass valve leakage
8 that caused a weld to crack on a safety injection to
9 reactor coolant loop. It was sort of the source of
10 a --

11 DR. BONACA: That was on a charge nozzle,
12 right?

13 MR. FRIDRICHSEN: That's correct.

14 DR. BONACA: And that was due to thermal
15 cycling?

16 MR. FRIDRICHSEN: That's right. Then --

17 DR. BONACA: How was it fixed? You must
18 have done some modification.

19 MR. FRIDRICHSEN: Well, on Farley's design
20 we pulled out the bypass line. There was no real need
21 for it so we cut and capped it. That source of
22 leakage was taken out.

23 MR. MACFARLANE: Just as an add we also
24 installed some temporary monitoring thermocouples to
25 demonstrate that we don't have cycling going on on a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lot of the other lines and also that line.

2 MR. FRIDRICHSEN: We still monitor that
3 information.

4 Then in 1994, as I mentioned earlier, we
5 started the zinc injection project on Unit 2. We
6 started on Unit 1 in 1999. We feel strongly that the
7 dose reduction benefit is obvious. The laboratory
8 information shows that the reduction in initiation of
9 stress erosion cracking and infirmary water stress
10 erosion cracking is reduced by the zinc injection.

11 DR. BONACA: It has nothing to do with
12 license renewal but could I ask why you are at 18-
13 month cycles? Most people have moved toward 24-month
14 cycle.

15 MR. MACFARLANE: The way I've had it
16 explained to me, and I can't say I can really give you
17 a total explanation, is that the economics from the
18 fuel go to a two-year cycle on PWRs. I've actually
19 gotten this from a Westinghouse person. It's just not
20 there when you look at the total cycle and economics
21 of it that you don't get to two years. That's not to
22 say it might change. To my understanding right now
23 that's kind of what the thinking process is, is that
24 the economics don't bear it out.

25 MR. SIEBER: You're balancing an increased

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fuel cost against the extra downtime. Let me ask you
2 a question on this slide before you go on. Back in
3 the '80s there was a problem on Westinghouse three-
4 loopers with split pins that were breaking.

5 MR. FRIDRICHSEN: That's correct.

6 MR. SIEBER: Did you replace your split
7 pins?

8 MR. FRIDRICHSEN: As a matter of fact, we
9 have just finished our second replacement on Unit 1.

10 MR. SIEBER: Oh, really?

11 MR. FRIDRICHSEN: Yes.

12 MR. SIEBER: What did you find this time?

13 MR. FRIDRICHSEN: It's just been completed
14 this week. We did a replacement in the early '80s and
15 we subsequently have done another replacement on Unit
16 1.

17 MR. SIEBER: And that was based on your
18 own inspection or some code requirement or what caused
19 you to inspect them and find cracks?

20 MR. FRIDRICHSEN: I'm going to ask my
21 associate, Wayne Lunceford, to address this.

22 MR. LUNCEFORD: Yes, this is Wayne
23 Lunceford. The split pins on Unit 1, the original
24 design were Alloy 750. They were replaced with a
25 subsequent design, still Alloy 750 split pin. Even

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 though there were lower stresses, there had been
2 industry experience now with that second generation
3 design failing due to stress corroding and cracking
4 notably at Wolf Creek.

5 The issue for them was economics and that
6 the nut portion of the split pin was carried out and
7 did a pretty good banging job on their tube sheet of
8 their recently replaced steam generators so Farley
9 decided to preemptively replace those X-750 pins with
10 316 co-work pins.

11 MR. SIEBER: Thank you.

12 MR. LUNCEFORD: Unit 2, by the way,
13 already has replaced their split pins with 316 co-work
14 stainless steel.

15 MR. SIEBER: Well, the original problem,
16 as I understand it, was the sharp edges in the machine
17 to make the pin in the first place. The steam
18 generators where you had the loose part, those are the
19 new steam generators?

20
21 MR. MACFARLANE: He was speaking of Wolf
22 Creek. Farley has not had that experience.

23 MR. SIEBER: You don't have that problem.

24 MR. FRIDRICHSEN: Not with the new steam
25 generators. We did in the early '80s have one split

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pin break and get into the primary system on one of
2 the steam generators.

3 MR. SIEBER: That makes them hard to
4 inspect after you bang the tube shut.

5 MR. FRIDRICHSEN: Moving along with
6 operating history, we operated each unit in 1998 by
7 123 megawatts thermal per unit. Then in 2000 and
8 2001, as I already discussed, we replaced steam
9 generators on both units. We replaced it with the
10 Model 54F Westinghouse design, Alloy 690 tubing with
11 stainless steel support plates and full depth roll.

12 DR. BONACA: And they are thermally
13 treated, right, that 690 TT?

14 MR. MACFARLANE: That's correct.

15 MR. FRIDRICHSEN: And as we move on, we
16 are currently in the process of doing the first
17 reactor vessel head replacement on Unit 1 and we'll do
18 Unit 2 next fall, next October.

19 DR. BONACA: But where are you on the
20 subceptability curve for the vessel head?

21 MR. LUNCEFORD: The original heads were in
22 the high category. That was part of the rationale for
23 preemptive replacement of the reactor vessel heads
24 even though there has been no cracking detected to
25 date at Farley.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SIEBER: Are you a hot head or a cold
2 head?

3 MR. LUNCEFORD: It is a hot head design,
4 597.

5 MR. SIEBER: Okay. Let me ask another
6 question. You don't have to go back to the slide but
7 slide 5 gave things like passing factors and outage
8 duration for all the way to 1999. I noticed the
9 capacity factor for Unit 2 in 1999 was pretty low.
10 What happened that year? It didn't look like your
11 outage was too long. You must have had some trips or
12 something.

13 MR. FRIDRICHSEN: I'll have to defer. I
14 was out of the country at that time.

15 MR. SIEBER: Well, I'm curious. You don't
16 have to provide me with an answer if you don't have
17 one readily available.

18 DR. BONACA: So now in your reactor vessel
19 head inspections you didn't find any leaking CRDMs?

20 MR. FRIDRICHSEN: That's correct.

21 DR. BONACA: You inspected those so your
22 bottom heads?

23 MR. FRIDRICHSEN: Yes, sir. One of my
24 later slides we talk about it.

25 DR. BONACA: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. FRIDRICHSEN: We've done bottom head
2 inspections on both units with no indications.

3 DR. BONACA: You replaced the thimble
4 tubes in one of them. Right?

5 MR. FRIDRICHSEN: Yes, sir. I think we
6 replaced them in both units now. We've done some on
7 -- I know we did Unit 1 in the 1998 time frame.

8 DR. BONACA: I mean, I was trying to
9 understand the criterion you have. I mean, you
10 replaced them because you had a defect in them that
11 you identified or thinning was beyond a certain
12 criterion or just a precautionary step?

13 MR. FRIDRICHSEN: We had undertaken a
14 program of eddy current testing since either a
15 bulletin or information that came in the early '90s.
16 We had been doing eddy current and had seen
17 progressive wear and decided at that time to replace
18 the thimbles with, I want to say, the chromium. It
19 had a hard surface at the interface where it
20 penetrates the vessel.

21 The purpose of this slide is to show that
22 our management, our company, has made consideration
23 for long-term operation at plant Farley. We've done
24 a lot of things that we consider focused on the long-
25 term. Of course, steam generator replacement and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reactor vessel head replacement were two big issues.
2 We have just completed earlier this year a complete
3 replacement of the cooling towers. The original
4 construction had become kind of frail and we replaced
5 them with new design, new construction.

6 We are also in the midst of getting our
7 dry cask storage installation completed and get
8 started with loading casks. I don't know the exact
9 schedule for when we'll commence with that but that is
10 in our long-term plan.

11 Additionally in the 1998/'99 time frame we
12 conducted baffle former bolt replacement on both
13 reactor vessels for concern of lose parts. There was
14 an issue at the time. I think it was primary water
15 stress erosion cracking of those bolts. We went ahead
16 and we inspected all of them. The modeling showed and
17 we had prepared to replace about 275 on Unit 1 and 200
18 on Unit 2. We did that in '98 and 99 respectively.

19 Now we'll move a little bit to the meat
20 and potatoes of license renewal. This slide we say is
21 consistent with past applicants. That is where we
22 ended when we originally started. We had adopted the
23 NEI methodology, (a)(2) methodology. (a)(2) was going
24 to include electrical targets at a 20-foot radius from
25 a water source.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 After discussions with the staff and some
2 work we did between ourselves we decided to revised
3 the process to go with that consistent with prior
4 applicants for the (a)(2) scoping. We say consistent
5 with past applicants but there was an iteration in the
6 development of that.

7 MR. LEITCH: It looked like it took a
8 couple of iterations to get that resolved but you did
9 eventually do away with the 20-foot criteria?

10 MR. FRIDRICHSEN: That's correct.

11 MR. LEITCH: And you also now consider in
12 addition to electrical components both mechanical and
13 structural components.

14 MR. FRIDRICHSEN: That's correct.

15 MR. LEITCH: The one part of that, I think
16 that RAI had like five questions in it. 20-foot was
17 one of them and mechanical versus electrical
18 structural. There's another. The one part that
19 surprised me a little bit, and maybe this is
20 consistent with past applications, where there were
21 gas-filled systems you considered the failure of those
22 systems to be noncredible.

23 I guess I was surprised at that. I could
24 see perhaps saying what happens if one of those
25 systems fails and rationalizing that was not probable

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 or not troublesome but I didn't understand the
2 rationale that said that the failure of the gas-filled
3 system was not credible.

4 MR. MACFARLANE: The failure of the gas
5 systems is actually addressed in the NRC ISG and what
6 they ask you to do is to deal with your plant specific
7 operating experience that you've had on those systems.
8 The focus is on a failure type that can lead to the
9 failure of such related equipment so it's not just the
10 failure of the gas system itself but it's also leading
11 to a failure of such related system.

12 If you did get a breach in a gas system,
13 whether or not that has the potential to cause a
14 failure in another system you have no water spray
15 effect and you've got rapid expansion of the gas if
16 it's a compressed gas. Most of the gas systems are
17 not on extremely high pressure anyway. They are 100-
18 pound pipe systems.

19 Then the issue that would be remaining is
20 could the system fall and that has already been shown
21 through industry-wide type operating experience
22 looking at not just nuclear but other facilities that
23 those systems do not -- we have the supports already
24 in scope and age managed and then the gas systems do
25 not fall essentially. You don't have a failure hazard

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 as long as you are managing the supports.

2 MR. LEITCH: Perhaps my question is really
3 with the NRC staff because I agree that what you did
4 seems to me to be in conformance with their position.
5 I could visualize a 100-pound air system failing in
6 such a way that the jet of air coming out the failure
7 might damage some electrical equipment like a limit
8 switch or pressure switch or something in the area.
9 I guess the NRC was happy with the resolution of this
10 ISG. I guess I'm just not happy with the resolution
11 of this issue. Maybe you can talk to that when you
12 get to that part of your presentation or now,
13 whatever.

14 DR. KUO: Yes. Maybe when we get to that
15 part of the presentation we will try to answer.

16 MR. LEITCH: Okay. Let me just make sure
17 you understand what my question is. RAI 2.1-1 there
18 were five issues that you raised. All five of those
19 issues were satisfactorily resolved.

20 DR. KUO: Right.

21 MR. LEITCH: I agree that the resolution
22 of four of those five. My question is that one of
23 those says basically gas-filled system failure is not
24 credible. Therefore, we're not going to consider
25 that. That's the one I would like to hear a little

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 more discussion about.

2 DR. KUO: Okay.

3 MR. LEITCH: Thank you.

4 DR. BONACA: I had some questions about
5 some components. They are not in scope and I would
6 like to hear why they are not. I mean, CRDM cooling
7 system is not in scope.

8 MR. MACFARLANE: The CRDM system itself is
9 part of the normal rod control. In terms of the
10 safety system when you talk about doing a rod
11 insertion, that mechanism is not really what comes
12 into play. You basically release the rod and gravity
13 drops it down. It doesn't actually perform a safety
14 function and that's why it was not put in scope. The
15 cooling system is not relied on for any type of
16 containment analysis or anything like that.

17 DR. BONACA: Okay. Now, the screen wash
18 system we have seen this before but I always have that
19 question. I mean, the screen washes them up?

20 MR. MACFARLANE: The screen wash was not
21 in scope. That is handled through the operators. The
22 intakes themselves, the traveling screens AR were put
23 in the structural side of the house.

24 DR. BONACA: Those are the river water
25 intake structure. That is not in scope, is it?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MACFARLANE: No. The river water
2 intake structure, the situation there is that's the
3 structure at the river, the river water system that
4 feeds the pond and then the pond becomes the ultimate
5 heat sink so that structure, although is important to
6 operation, is not important to safe shutdown.

7 DR. BONACA: Finally, the in-core
8 instrumentation, I guess you can use it for NSFT
9 related application?

10 MR. MACFARLANE: No, not in-core.

11 DR. BONACA: Not tied to any --

12 MR. MACFARLANE: In-core is for flux
13 mapping and those issues. The ex-core is what's
14 actually --

15 DR. BONACA: The tech specs. Any
16 connection to that?

17 MR. MACFARLANE: Well, we are required to
18 do flux maps and those types of things and that's just
19 during normal operations. In terms of responding to
20 an event for detection ex-core system is what actually
21 does that. It's part of the reactor protection
22 system.

23 MR. SIEBER: Your tech specs for flux map
24 and your launch for 30 days and if you fail to do it
25 you shut down so nothing is really required.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LEITCH: I had another question about
2 scope and the license renewal application, page 2.1-
3 15. It says, "SNC has included in scope those
4 switchyard components controlled by the plant that are
5 necessary for recovery of off-site power." Should I
6 be focusing on the words "controlled by the plant?"

7 In other words, I don't know who controls
8 what. That's kind of a utility unique decision.
9 Sometimes the breakers in the switchyard are
10 controlled by others and sometimes they aren't
11 controlled by the plant but I don't see what that has
12 to do with whether or not that equipment should be
13 included in the scope. It sounds like you're saying
14 here that only those things that are controlled by the
15 plant that are necessary for recovery of off-site
16 power are included in the scope. I just don't
17 understand.

18 I mean, we have some plants, for example,
19 where there is an adjacent hydro plant that is
20 controlled by a totally different organization. Those
21 portions of the hydro plant that are necessary for
22 recovery of off-site power are included in the scope
23 even though they are beyond the control of the
24 organization that is operating the nuclear power
25 plant. I guess I was puzzled by the words "controlled

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 by the plant."

2 MR. MACFARLANE: The way that particular
3 scoping was done is, you know, he talked earlier about
4 we've got six different off-site feeds and they all go
5 into the high-voltage switchyard. Then from that
6 switchyard there's a point where it connects into our
7 feeder system and goes down into our low-voltage
8 switchyard. Then there is actually a site procedure
9 when you want to restore off-site power if you have a
10 loss of off-site power in the event of a blackout type
11 situation.

12 That is what we put in scope is that
13 primary means to feed to switchyard in responding to
14 that event. It makes an interface in that switchyard
15 but in that switchyard you define the high-voltage
16 sign and then the feeder sign going to the low-voltage
17 switchyard.

18 The actual switchyard itself is considered
19 -- it has kind of a unique ownership in that it's
20 partly run by the plant and partly run by Alabama
21 Power. Controlled by the plant, I guess, I can see
22 where that would be confusing but that really doesn't
23 have any bearing in terms of where that distinction
24 was picked. It's really picked based on the
25 procedures for restoring off-site power.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LEITCH: So the fact that some of
2 those breakers may be under the control of Alabama
3 Power doesn't exclude those from the scope.

4 MR. MACFARLANE: Right now all those
5 breakers are under the control of -- the site has an
6 operator that goes out into the switchyard.

7 MR. LUNCEFORD: But you're right, it
8 doesn't exclude them from the scope.

9 MR. LEITCH: Okay. Thanks.

10 MR. FRIDRICHSEN: The next slide will talk
11 a little bit about the GALL comparison. Wherever
12 possible we use the GALL tool as much as possible. We
13 did note that in our review that there were some
14 material environment program combinations that were
15 not in GALL but we had components and systems that
16 needed to be in scope.

17 The aging management wasn't identified in
18 GALL and the best example we can site is that we have
19 in scope in some places some stainless steel piping in
20 a varied environment and that series of combinations
21 is not addressed in GALL so we were not able to use
22 GALL in those applications.

23 Then also in some plant specific programs,
24 for example, the flux thimble program and external
25 surfaces monitoring programs were two programs that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 were generated plant specific for our application.

2 DR. BONACA: One thing that I notice, and
3 this is not the first application, is that on the fire
4 protection issue there are frequency of inspection of
5 C02, halon systems, and so on. Typically licensees
6 are proposing whatever they are doing now, like in
7 your case 18 months. GALL says it should be inspected
8 every six months.

9 Typically NRC says, "Okay, it's acceptable
10 the way it is." I have already raised this issue
11 before. If it's acceptable to go to longer time, I
12 think GALL should be relaxed to include that and maybe
13 there is a plan to do so or vice versa. Then if it
14 isn't acceptable in GALL, then you should go to a more
15 frequent interval. The question I have is like on the
16 issue of C02 and halon inspection. Why do you feel
17 18-month inspection is adequate?

18 MR. MACFARLANE: In the case of the halon
19 and C02 what you really end up with is a center of gas
20 that is maintained in a dry state. We really haven't
21 had any trouble in terms of internal operating
22 experience. I don't want to say it was called an
23 exception. I can't remember if it was classified as
24 an exception or a clarification but we did use an 18-
25 month frequency and it was accepted by the staff.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 It's consistent with what you're talking about with
2 other applicants.

3 DR. BONACA: I understand it's a dry
4 system. But the question I raise why does GALL still
5 having a requirement for six months? I mean, I'm just
6 raising the question. The guy who reviews it why is
7 it always acceptable to relax because this is the
8 first time. If so, then why not make it -- relax the
9 requirement into GALL?

10 DR. KUO: This is really a good question
11 and this is the whole purpose of updating the GALL
12 right now.

13 DR. BONACA: So you do agree, in fact,
14 that a longer interval between inspections is
15 acceptable for this kind of --

16 DR. KUO: For this plant, for Farley case,
17 we did agree with it and that we will provide you the
18 basis for that during the audit presentation.

19 MR. MACFARLANE: Just to add to what was
20 said there, I think you're correct. There are several
21 programs that have those kind of little issues and I
22 believe the staff is trying to look at addressing that
23 in the GALL update. The industry is also updating its
24 documentation and the schedule for that is sometime
25 next year in terms of getting it all the way through

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the process. There are several instances of that kind
2 of thing where there's a lot of precedence on it that
3 should be incorporated into the future goal.

4 MR. LEITCH: I had another scope question.
5 The tank atmospheric events, there was apparently some
6 omissions or inconsistency regarding whether they were
7 or were not in scope. This was mentioned in the NRC
8 inspection report.

9 I guess specifically the RWST, CST, RMU,
10 some of the events were in scope and some were in
11 scope. I guess it's all been straightened out now and
12 they are all in scope, but my question really was was
13 that just one of a kind or was there any process type
14 of issue that was uncovered by that inconsistency?

15 MR. MACFARLANE: The tank vent issue
16 really got into in resolving it we did go back and
17 look at all of our atmospheric type tanks. What you
18 have is a couple different situations that can occur
19 on a tank vent and you can have some tank vent systems
20 that actually are a pipe system and they might have
21 some supports that might be inside the structure.
22 When you start looking at aging of a tank vent, you
23 are actually going to increase the vent area so it
24 doesn't become an issue in terms of being able to
25 impact the ability to do the event.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 You try to maintain your vent as opposed
2 to in a couple of these tanks the situation was you
3 had a fairly significant length of piping on top of
4 the tank that is the vent. The issue became if you
5 did have some aging that thing could potentially,
6 although somewhat of a remote possibility, crimp or
7 collapse and close off or reduce your vent capability.

8 It was done inconsistently among a couple
9 of preparers and that's what set that whole thing off
10 so we went back and looked at all of those and put all
11 of them in scope. We don't have any of those that
12 really fall into the supported type piping vent
13 system. Really most of them mount right on the tanks.

14 MR. LEITCH: So I guess what you're saying
15 is it was one-of-a-kind situation that didn't reveal
16 some underlying flaw in their scoping process.

17 MR. MACFARLANE: The thought process at
18 the time was that the aging event would not be an
19 issue from an (a)(2) standpoint and that the event
20 surface would increase. They had not considered the
21 crimping off aspect so that was really what was the
22 change, I guess, in terms of an additional failure
23 mode, so to speak.

24 MR. LEITCH: I guess my question goes more
25 to communication between the groups that were doing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the work. Evidently there was one group --

2 COURT REPORTER: Mr. Leitch, I can't hear
3 you.

4 MR. LEITCH: Evidently there was one group
5 that did consider the crimping and another group that
6 did not consider the crimping.

7 MR. MACFARLANE: It's really the
8 difference in individual preparers and different
9 thought processes on or between the two. Since that
10 time we did get everybody together on that particular
11 issue and reviewed it and that's where we made the
12 decision as a project to consider that a credible
13 mechanism. That's not part of our process in that we
14 consider that mechanism.

15 We did look at some other plants and what
16 they had done and they had different situations on the
17 same tanks. They had piped supported systems so they
18 have a different conclusion. Interestingly enough,
19 you can look at an event on the same tank at different
20 plants and you will actually get a different result
21 and it has to do with the physical installation.

22 MR. LEITCH: My question, though, is not
23 so much about the tanks as it is with communication of
24 thought processes and experience between different
25 groups that are doing similar work.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MACFARLANE: It's actually not a
2 different group. It's all in one group. It's just
3 two different mechanical engineers doing the
4 preparations and I can't really tell you who the
5 checkers are. I don't have that information off the
6 top of my head but it was just a difference of how
7 they did it, it could happen type thing.

8 It was not really a communication
9 standpoint. They actually sit right across from each
10 other. They are looking at a lot of different things
11 in that particular case. In some cases they just
12 didn't view that as a real possibility. We actually
13 had a long discussion about whether or not to
14 challenge the position taken by the inspectors on
15 this. We decided that from our standpoint it was
16 conservative to put it in and we decided to do that.
17 It was still subject to some debate in terms of is it
18 really a valid mechanism.

19 MR. LEITCH: Okay. Thank you.

20 MR. FRIDRICHSEN: And moving on we'll talk
21 about some of the key exceptions, differences we have
22 with some of the GALL programs. These are our key,
23 some of the things we consider more significant. We
24 have a slide a little bit later that talks about some
25 of the minor things.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The first example is the reactor vessel
2 surveillance program. The GALL recommends that all
3 capsules be removed at an exposure of 60 years
4 fluence. At Farley those capsules will remain in
5 until 80 years of exposure. That's one difference
6 that we have with the GALL recommended program.

7 Another one is relative to the Reactor
8 Vessel Internals Program and that's really a function
9 of the evolution of this issue in the industry and
10 that the activities going on in the industry now are
11 somewhat at a different level than what the GALL
12 recognized and, therefore, there's a higher tension
13 being applied to it.

14 We're going to go beyond what's in the
15 GALL for that program. We're going to sort of follow
16 what's on with research in the industry. We'll follow
17 what the EPRI-MRP is doing. Somewhere in the two
18 years prior to the period of extended operation time
19 frame we'll submit the program for staff review and
20 approval.

21 Another exception is with the non-EQ
22 cables and instrumentation circuits. We are going to
23 base our program on the alternate program composed by
24 the Electrical Working Group. This program is
25 different from what's recommended in GALL.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The last example that I'll cite is that
2 with the Water Chemistry Control Program for closed
3 cycle cooling water the GALL recommends forms testing
4 for pumps and heat exchanges and our program is going
5 to credit every monitoring guidelines.

6 Those are the four or four of the more
7 significant differences we have with GALL. In our
8 mind that's not -- these programs are not enormous
9 exceptions to what's in GALL.

10 Then some of the minor things are relative
11 to. We'll even use the term clarifications. There
12 were different or later versions of codes and
13 standards that we're applying that are referenced in
14 the GALL or that we may expand our program beyond
15 what's in GALL or that there is later NRC guidance for
16 those programs and, therefore, we are citing that as
17 our reference as opposed to GALL.

18 MR. LEITCH: I have a question about
19 compliance with interim staff guidance. You go
20 through the license renewal application a kind of
21 detailed explanation of your compliance with the
22 various ISGs. That all looked good and I thought it
23 was pretty helpful but I was puzzled by the one about
24 fuse holders.

25 You say, "Since fuse holders at Farley

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have no aging effects requiring management, the
2 attributes of ISG-05 do not apply." I guess my
3 question is what's different about your fuse holders?
4 Don't they corrode like other people's fuse holders?
5 I just don't understand what's different there.

6 MR. NGUYEN: My name is Duc Nguyen from
7 the electrical engineer branch. We are the one who
8 issued ISG. The fuse holder has two parts, one the
9 installation portion and one the metallic portion.
10 The installation portion include the GALL XI.E1. We
11 use inspection to inspect the installation material
12 due to local line by heat or radiation, hot spots.

13 For the metallic portion E1 is not
14 applicable because of the concern we have. We had a
15 contract go to 30 on the fuse holder and we found that
16 some of the metallic portion have a crack. The
17 problem was when they do the maintenance they took out
18 the fuse element and it was in and out so many times
19 the fuse clip have fatigue. That a problem we found
20 in one of the 30. Therefore, we issued ISG. We say
21 that for your particular plant you have to address
22 aging effect of fatigue, corrosion, and vibration.

23 Salt land that aging effect is not
24 applicable and they provide a reason why. For the
25 fatigue they say we don't remove the fuse element. We

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have the upstream of that fuse. When you run through
2 maintenance you go through breaker and we trip it off
3 so fatigue is not applicable to us.

4 Some plants are applicable to them because
5 they say every time we go to maintenance we have to
6 remove the fuse. That why if you did that, then we
7 require them to have again management program. If you
8 don't do that, then that aging effect is not
9 applicable.

10 For corrosion for particular filing they
11 say they are the fuse holder is contained in a cabinet
12 inside the drum so the moisture and it's not an
13 applicable aging effect. In ISG we say that you have
14 to evaluate your plan and tell us why aging effect is
15 not applicable. That is plant specific. Farley
16 provide information and they address why they don't
17 have that aging effect and we agree with that.

18 MR. LEITCH: So if I can summarize that in
19 the aging effect due to fatiguing doesn't apply
20 because they don't routinely take the fuses out.

21 MR. NGUYEN: They took off the breaker
22 upstream.

23 MR. LEITCH: And the aging effect due to
24 corrosion --

25 MR. NGUYEN: Because you're inside a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cabinet and low to moisture. And another thing they
2 say is the fuse clip also coat it with silver or
3 something, the material that prevent corrosion. That
4 makes sense. Some applicant they won't get that and
5 then they have to provide us the Aging Management
6 Program. In the new GALL update we are going to
7 propose a new program, XI.E4. That program will tell
8 you what to do and we are going to do that in the next
9 GALL update.

10 MR. LEITCH: Thanks very much. That's a
11 very good answer.

12 MR. FRIDRICHSEN: It's very rare for us to
13 do safety isolation by pulling a fuse. That's very
14 rare. From here I'll transition --

15 DR. BONACA: Before you go on I have just
16 a couple of questions. First of all, for your in-
17 service inspection you found a bulge in the
18 containment lining. That's a no-never-mind?

19 MR. FRIDRICHSEN: It was evaluated and
20 disposition is acceptable.

21 DR. BONACA: What is the size of this
22 bulge?

23 MR. FRIDRICHSEN: Partha, could you answer
24 that?

25 Partha actually did the inspection.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GHOSAL: There were two or three found
2 by doing our inspection. The lining is quarter-inch
3 thick and bulging is in between the support points so
4 you do a meet span and each considered. We evaluated
5 the situation and we measured the thickness of the
6 liner and there was no decrease in the depth of the
7 liner or anything so that kind of eliminated that
8 there is any deterioration behind the liner. It was
9 determined that it was during the construction time
10 the bulging happened. It was nothing related to the
11 age-related degradation.

12 DR. BONACA: It doesn't affect in any way
13 functionality.

14 MR. GHOSAL: Right. Yes. There is no
15 crack. There is no indication or anything.

16 DR. BONACA: The other question I had was
17 regarding again the mainstream support failure.

18 MR. GHOSAL: You mean the concrete support
19 failure?

20 DR. BONACA: Yeah. I think it was the
21 mainstream line. Was it?

22 MR. MACFARLANE: I'm not sure exactly
23 which question --

24 DR. BONACA: In-service inspection. I
25 have to get the document out.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MACFARLANE: We did have -- I suspect
2 what you're talking about is during Unit 2 steam
3 generator replacement we discovered several mainstream
4 support hangers had failed. There was an extensive
5 root cause investigation of that. We actually hired
6 in Altran and some high-powered consultants and we
7 actually did some modeling.

8 We installed some transducers actually in
9 the mainstream system trying to pinpoint what was
10 going on. We also did a lot of mitigative work.
11 There was some vibration damper in the isolators that
12 were put into both containment and into the aux
13 building. I take that back, not the aux building,
14 into the turbine building.

15 What they found out is when we did the
16 upgrade I guess it had a little bit of an effect but
17 the main issue was where our three lines that come out
18 of containment go into a common header and they go
19 into two lines into the turbine building, that header
20 was causing -- it was actually initiating this flow-
21 induced vibration.

22 The resolution was really putting in this
23 dampener and isolators and those kinds of things. It
24 was practical to try to change out that header.
25 That's a pretty tight area and a major size header.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 That was a real extensive effort that went on in that
2 time frame and that was our operating experience. It
3 was really treated as an initiating event. It's not
4 an ongoing type of event.

5 They did analysis to make sure it had not
6 been over-stressed and then we did monitoring after we
7 did all of these modifications to prove that the
8 modifications that were done did bring the amplitudes
9 down to where they were in allowable limits and
10 everything was fine. That's what was done.

11 DR. BONACA: So you don't have anymore of
12 the conditions that cause the high-cycle fatigue, the
13 ameliorating.

14 MR. MACFARLANE: Right. The piping we
15 keep monitoring. We do hanger inspections when we
16 shut down for an outage to make sure that we don't
17 have any. The conclusion was that those made a
18 significant reduction.

19 DR. BONACA: And you are still inspecting
20 anyway. You in-service inspection looks at those
21 areas.

22 MR. MACFARLANE: Right. We also inspect
23 out in the turbine building area which is outside the
24 ISI scope. We do check entire mainstream lines.

25 DR. BONACA: On a separate issue on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 diesel oil fuel, you have a discrepancy from GALL
2 where you do not test for particulate.

3 MR. MACFARLANE: That's correct.

4 DR. BONACA: And I didn't understand. I
5 assume that particulate meant impurities in the diesel
6 fuel. The answer was that it was acceptable because
7 it does not significantly impact on pressure boundary
8 integrity. The question I had was what about the
9 long-term work functioning of the diesel? I mean,
10 would the particulate, for example, if it was
11 impurities mean that the diesels may not function for
12 the long haul as well as it should?

13 MR. MACFARLANE: I think what happened is
14 we really just have a different set of standards that
15 we use. That does happen to be one of the
16 differences. The standards that we are committed to
17 is actually in the tech specs and so we took the
18 exception from the standpoint that the tech specs
19 govern what we had. In terms of the quality of the
20 fuel oil in terms of aging, what you're really looking
21 for is whether or not you're looking for water and
22 those kinds of things and we do do that.

23 DR. BONACA: Maybe the problem is -- I
24 mean, I'm trying to understand. I understand you are
25 testing for water and I understand what water does.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Sediment, I understand that, and viscosity. Maybe I
2 should ask the staff what is this particulate that
3 they are testing for. Are they impurities of a
4 different type?

5 DR. KUO: Let me find out.

6 DR. CHANG: My name is Ken Chang. I'm the
7 auditing leader of the Farley review. When the
8 auditing was on site we did review the fuel oil
9 chemistry control program and we identified -- we
10 noticed the differences of the two standards, ASTM D
11 270-75 and GALL prescribed ASTM D 4057. We looked
12 into the basics documents and the applicant did a
13 comparison study of the ASTM D 270 and the D 4057.

14 Based on the parameters important to the
15 corrosion these are properly monitored by both
16 standards and also no significant differences exist in
17 the ability of the program to manage aging following
18 ASTM D 270-75 versus D 4057. Also, the operating
19 experience confirmed that AMP B.4.2 has been effective
20 in managing the aging effect. They also are following
21 the tech spec requirements as part of the CLB which
22 takes precedence over the GALL. It is accepted by the
23 auditing.

24 DR. BONACA: I understand but it doesn't
25 answer my question. I was trying to learn something

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that I haven't learned. Specifically it says they
2 should test for impurities and for particulates and
3 they don't so I'm left with the question what is a
4 particulate here? Some kind of impurity.

5 Clearly it can't be water because they've
6 tested for water. It cannot be sediment because they
7 are testing for settlement and they tested for
8 viscosity so it can't be any of those issues. It has
9 to be something else and I'm not getting the answer to
10 what particulate means in GALL.

11 DR. CHANG: I don't think I have provide
12 you the answer to that particular part of the question
13 but the auditing and the main purpose is to verify
14 that these AMPs are adequate to managing the aging
15 effects for that purpose. If you are interested in
16 knowing the answer to the other part of your question,
17 I can look into it and provide you the answer.

18 DR. BONACA: If you could. I mean,
19 clearly GALL must specify --

20 DR. CHANG: GALL must be for a reason.

21 DR. BONACA: -- for a particulate. I
22 would like to know what it means.

23 MR. LUNCEFORD: If I could provide a
24 clarification maybe. We're talking about total
25 particulate. I believe it's ASTM D 2276 and you look

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in there for a particulate that has a similar specific
2 gravity as the fuel that doesn't settle to the bottom.

3 The test there is a toluene test where you
4 are actually vacuuming through a filter cloth so you
5 look in what remains on the filter cloth. From our
6 perspective that has more to do with the active
7 function of the diesel, not something that would
8 settle to the bottom of the tank like water or heavy
9 sediment that would contribute to corrosion on the
10 bottom of the tanks.

11 DR. BONACA: But this particulate could
12 hurt the diesel.

13 MR. LUNCEFORD: Agreed, but we consider
14 that to be part of the active function of the diesel.
15 We were concerned with remaining the integrity of the
16 fuel system components, especially the storage tanks
17 where corrosion would tend to occur on the bottom.

18 DR. BONACA: Okay. If I have an expensive
19 diesel engine car, I would make sure there are no
20 particulates there either. I understand now. This
21 provides an answer to my question.

22 MR. SIEBER: You might even get a fuel
23 filter.

24 MR. LEITCH: While we're right on that
25 point, I had another slightly different question about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fuel oil. It seems as though the fuel oil sampling
2 program for the diesel-driven fire pump, not the
3 emergency vehicle but the diesel-driven fire pump, is
4 not the same as the sampling procedure or the testing
5 procedure for the emergency diesels. Why is that? It
6 wasn't clear to me whether we were going to make that
7 testing procedure the same as for the emergency diesel
8 fuel oil supply.

9 MR. MACFARLANE: You're correct in that
10 the way we monitored the fuel oil tanks for the fire
11 pumps was quite a bit less -- you know, it's not under
12 tech spec type surveillance. That was a weakness we
13 identified during our review so changes to the fuel
14 oil monitoring program are being implemented as a
15 result of renewal to remedy that situation.

16 The actual source of the fuel oil that's
17 used in that tank, though, comes from the same source.
18 The way we actually bring fuel oil on site is we take
19 our old aux boiler fuel tank and we off-load the
20 tanker truck into that tank and then sample there so
21 we verify the quality of our fuel oil before it ever
22 enters into the actual storage tanks for the diesels.

23 The same thing for the fire pump diesel.
24 Some of the things we're doing in that program to
25 address the fire pump diesel storage tank, one of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 items we added was a periodic draining and sampling of
2 the bottom of the tank that didn't currently exist.
3 During the AMP/AMR inspections from the region some
4 questions were asked about that tank and we actually
5 did some things.

6 We went out and did some UT on the bottom
7 of the tank just to confirm that there hasn't been any
8 adverse corrosion going on in that tank and that was
9 done in response to an inspector's questions. We did
10 recognize that was a weakness in the program. That's
11 why in the application we stated that we would have to
12 enhance that part of the program because it wasn't to
13 the level we felt we needed.

14 MR. LEITCH: Okay. Thanks.

15 DR. BONACA: I had a question again on the
16 issue of buried piping in tanks. There you are really
17 -- first of all, you do have a lot of stainless steel
18 and cooper alloy material resistant to corrosion. You
19 are essentially having an opportunistic problem to
20 inspect whenever you discover this piping which the
21 standard has been used. I mean, everybody is using
22 this so that's what GALL recommends.

23 Then the operating experience says that
24 you experience three underground leaks over the past
25 four years of in-scope and out-of-scope systems and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that you were successfully identifying the problem
2 before system loss of function. I was kind of taken
3 aback by three and four years seems to be a pretty
4 significant number. Are you concerned about this
5 frequency? Is it expected? Is it normal?

6 MR. MACFARLANE: What we see is the coding
7 system on these carbon steel pipe has held up well and
8 remained intact. What happens is you can get a stray
9 rock or something in the back fill when this stuff was
10 installed and it will nick that coating and we're
11 seeing localized type attack that will manifest itself
12 into a leak.

13 What we're trying to get across, I guess,
14 with that operating experience was what happens is
15 we'll see that leak and that leak becomes evident and
16 we are able to detect those way before there is any
17 significant potential for the loss of the line. They
18 are very random and occur in different locations.
19 There is really --

20 DR. BONACA: But if it was from original
21 list, wouldn't it have manifested itself before? This
22 plant has been around for 25 years.

23 MR. MACFARLANE: What you're saying is for
24 an exposed surface of carbon steel how long will it
25 take for that to actually corrode through from the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 outside. Of course, then you also have corrosion
2 issues on the inside as well going on with the service
3 water itself. Our cast iron stuff has held up
4 extremely well. We have no issues really with the
5 cast iron but the carbon steel we do have cathodic
6 protection system on it that we don't credit.

7 It is in use and does protect the piping
8 in the majority of locations. There are a few
9 locations that the cathodic protection system is not
10 effective and that's why it's not credited in renewal
11 space because there is some problem areas mainly
12 around the structures because the structures act as a
13 big sink for the current so we didn't feel we could
14 use that as a viable renewal program. The failures
15 we've seen have been mainly on nonsafety sections but
16 we have had a little bit on some of the safety-related
17 piping but nothing that would alarm us to my
18 understanding.

19 DR. BONACA: Does the system have common
20 experience at other sites? I would like to know.

21 MR. MACFARLANE: To my knowledge it is.
22 It's pretty common.

23 DR. BONACA: I mean, I emphasize again
24 that this is the approach that GALL recommends, too,
25 for inspections but I guess we have to keep an eye on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it as we get into license renewal and plants get older
2 we'll see if, in fact, what we're doing right now is
3 still adequate.

4 MR. SIEBER: It's been a problem at some
5 plants. I mean, a severe problem. It's not something
6 that should be ignored.

7 MR. LEITCH: But I guess what I hear you
8 describing it's not a couple of failures as a result
9 of a general attack, but rather failures as a result
10 of a specific damage site.

11 MR. MACFARLANE: That's correct. We have
12 had a couple of things that are outside the power
13 block area and on safety lines where you've got a
14 crushing type of failure where a heavy load ran over
15 top of it but we've never had that on the safety
16 systems. Those are all protected.

17 We've had fire protection out in -- we
18 have some old warehouses that are out far from the
19 site from old construction days where something is run
20 over and crushed that kind of thing and that's not
21 aging at all. That's really related to the depth that
22 was buried at the time it was installed.

23 MR. FRIDRICHSEN: From here I'll
24 transition into commitment tracking to talk a little
25 bit about our process for doing this. Naturally,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we've made commitments through both the renewal
2 application process and the RAI and audit inspection
3 processes. We track all those with an on-site
4 commitment tracking system, a database, software that
5 enters the commitment, assigns it a number, and then
6 a responsible manager is assigned to follow up and
7 implement that commitment by the required date.

8 The region, Region II, will be coming very
9 early in March in 2005 to do an inspection on our
10 commitment implementation process. After this process
11 we'll get started loading those into the commitment
12 tracking database so that will be ready for the region
13 when they come down to see how we are getting all
14 those implemented.

15 To this point we have made approximately
16 130 commitments by our tracking. What this is
17 intended to illustrate is kind of the process. There
18 are a lot of arrowheads on this thing but it's trying
19 to show the variety of different things that are going
20 on.

21 Through the applications and the letters
22 we make our commitments and we have provided the staff
23 an independent list that we call the future actions
24 list. This is a subset of the commitments that
25 reflect those activities that have to be completed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 prior to the period of extended operation.

2 In addition to that, or as a greater set
3 of those future actions, we have the overall
4 commitments. Once we receive the safety evaluation --
5 let me back up. Let me say it differently. We will
6 begin loading commitments based on what is in the
7 draft safety evaluation. Our normal process would be
8 after the safety evaluation before it's issued to
9 enter the commitments.

10 For license renewal we're going to do that
11 ahead of time. We'll load those commitments out of
12 what's in the SER into the commitment tracking system
13 and that will instigate the actions for the
14 responsible managers on-site to make their procedure
15 changes, program changes, budget changes, etc., to
16 implement the commitment.

17 Independent of the commitment tracking
18 system is our internal action tracking, action item
19 tracking, and that is a program which at the
20 discretion of the responsible manager he can implement
21 an AI whereby he'll assign someone in his organization
22 the responsibility to do the implementation.

23 That process is independent of the
24 commitment tracking. If we are asked to status where
25 we stand on our commitment tracking, it won't be on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the basis of what action item tracking has recorded.
2 It's on what's out of the commitment tracking system
3 process.

4 The future actions list, as I said, is
5 really a subset of all the commitments and we've
6 provided that to staff and they will follow up on that
7 but there are other commitments and program revisions
8 that may be necessary to complete a GALL program.
9 Those are internal to the system already. We will be
10 getting started getting those loaded and getting ready
11 for Region II so they can come down prior to their
12 inspection and have everything ready for them to see
13 that we've got them all included.

14 MR. LEITCH: You have then a complete list
15 of commitments?

16 MR. FRIDRICHSEN: That's true, yes.

17 MR. LEITCH: I guess I saw something that
18 raised a question in my mind concerning whether
19 something like this would be a commitment or not.
20 There's a table, I think, where we're talking about
21 TLAA's regarding fatigue. It's page 4.3-4, note 4.
22 It's talking about fatigue on a certain piping
23 section.

24 I forget exactly what it is but basically
25 the answer is not to worry because that number of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cycles is based upon a load following plant and Farley
2 doesn't follow load so it's a base-load plant
3 basically so that cycling is not nearly approached.
4 I'm wondering how do we know that, say, five years
5 from now Farley does go into a cycling mode. Would
6 there be something that would flag that and say,
7 "Whoa, we've got to go back and relook at the number
8 of cycles."

9 MR. MACFARLANE: The Fatigue Monitoring
10 Program itself is set up to track all the significant
11 fatigue cycles so if you were to change how you
12 operated, you would have to go back in and look at the
13 impact of the plant and then that would have to pick
14 up that impact. The change process involved in doing
15 something like that would pick that up so that's more
16 in terms of process than terms of commitment.

17 The commitment itself is really the
18 Fatigue Monitoring Program which addresses a set
19 number of cycles. Also talks about our commitment to
20 do a phone line monitoring. Those are commitments.
21 Just as a little clarification to what was said, the
22 commitment list is comprehensive of things we
23 currently are doing but we've made a commitment into
24 the application as well as things we will do in the
25 future.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The future action list is really those
2 things that still have to be done in the future. That
3 is the difference between them. The commitment is the
4 whole list. The future action list is really those
5 things that are not yet complete which end up being
6 like, you know, the Reactor Vessels Internals Program
7 where we are going to submit to you two years prior to
8 the period of operation. That's a future action.

9 So just to help clarify the distinction
10 between the two nomenclatures, the staff a lot of
11 times will call that same thing a commitment so there
12 is a little bit of a terminology issue but just so
13 you're aware that when we say commitment, it's has a
14 little bit different meaning than when the staff says
15 it. They are really talking about the future action
16 list items.

17 MR. LEITCH: So there is no commitment
18 then as such that says Farley will not load follow.
19 But in the Fatigue Monitoring Program if there was a
20 change in the operation, you would pick that up in
21 your routine review of that program?

22 MR. MACFARLANE: Correct, because we've
23 taken the hardware out to do the load following.

24 MR. LEITCH: Yeah, I know, but I'm just
25 trying to understand if sometime in the future you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 decided to load follow.

2 MR. MACFARLANE: Right. The change
3 process itself. Just like anytime if we do an upright
4 or any kind of change, you go through what are all
5 your impacts and that would be part of that process.

6 MR. LEITCH: Okay. Not part of it but
7 you're calling it commitment here.

8 MR. MACFARLANE: No, it's more looking at
9 did it introduce any new fatigue cycles or fatigue
10 usages and that would start feeding into the
11 downstream calculations potentially impacted. You
12 would have monitoring potentially impacted so the
13 change process itself would have to look into all
14 those things.

15 MR. LEITCH: Okay. thank you.

16 MR. SIEBER: Actually, load following
17 doesn't introduce very many very deep transients that
18 would cause fatigues, start-ups and shutdowns that do
19 that, cool-downs. That's where the big cycles comes
20 from.

21 DR. BONACA: Right.

22 DR. SHACK: You can have lots of little
23 ones or a few big ones.

24 MR. FRIDRICHSEN: Industry issues. This
25 slide is just to discuss some of the -- we've already

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 discussed the bottom-mounted instrumentation
2 inspection results. We've done those visuals.

3 DR. BONACA: How easy to inspect those
4 bottom head of the reactors?

5 MR. FRIDRICHSEN: Well, it's --

6 DR. BONACA: Is it accessible?

7 MR. FRIDRICHSEN: It's accessible.
8 There's insulation that needs to be moved and
9 scaffolding to be constructed but it can be done.
10 Just recently I received a photo package that showed
11 all the inspections they had just completed on Unit 1
12 this fall.

13 DR. BONACA: Unit 1 has new thimbles?

14 MR. FRIDRICHSEN: Yes, but the thimble is
15 actually a tube within a tube. You have the conduit
16 piping that the thimble passes within and then the
17 detector passes within the thimble.

18 DR. BONACA: That's what was replaced.

19 MR. FRIDRICHSEN: The thimbles were
20 replaced.

21 DR. BONACA: Okay.

22 MR. FRIDRICHSEN: The piping is still
23 original. The VC Summer inspections in accordance
24 with the MRP guidance, we've done those inspections
25 also and we've seen no degradation in those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 instances..

2 DR. BONACA: VC Summer inspections, I
3 mean, those are inspections that were mandated because
4 of the cracks identified in the nozzle of VC Summer?

5 MR. FRIDRICHSEN: Yes, sir.

6 DR. BONACA: Did you have to -- I thought
7 that because of the insides of VC Summer your in-
8 service inspection when you do volumetric would be
9 somewhat affected by that issue. Have you changed
10 your inspection process or procedure?

11 MR. LUNCEFORD: For those belt welds there
12 was an MRP letter issued in 2003 which recommended
13 that the bare metal visual examination be performed on
14 all these welds. Farley has done most of those visual
15 examinations with no indication of any cracking. No
16 boric acid residue. None of those indications. When
17 you are referring to the volumetric examinations, you
18 are speaking of, I believe, Appendix 8, the
19 performance demonstrated volumetrics. Is that
20 correct?

21 DR. BONACA: No, I was referring to the
22 fact that when they found the crack and leaking they
23 went back to older nozzles and they perform at the
24 current to identify superficial cracks and then when
25 they found those they went in and they did volumetric.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Then they identified where were these cracks. I was
2 wondering if that was part of these inspections.

3 MR. LUNCEFORD: To my knowledge, Farley
4 has not done anything like that. There's the review
5 of the data which didn't show any weld repair issues
6 like VC Summer had on the weld. All of the
7 examinations to date have not shown any issues and the
8 visuals obviously came back good as well. Beginning
9 with the next Unit 1 outage, Farley will be required
10 to do performance demonstrated volumetric exams
11 according to the new AME criteria.

12 DR. SHACK: When you do the performance
13 demonstration for these welds, what's your performance
14 demonstration going to be on? It's not going to be on
15 the PWSCC crack presumably. You don't have any.

16 MR. LUNCEFORD: I'm not sure I'm going to
17 be able to answer that question. They are still
18 working on insuring that they get qualified
19 examinations. We're working with Westinghouse and
20 with Framatome to some extent to ensure that we are
21 going to meet all of those criteria. That is still in
22 process at this time.

23 DR. SHACK: The other thing, on that MRP
24 exam there was some language that said you had to do
25 a bear metal visual within two cycles. Are you then

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 committed to do a bare metal visual some time in the
2 future on some periodic basis?

3 MR. LUNCEFORD: As far as I understand,
4 there is not a periodic requirement for that bare
5 metal visual, although as we've just discussed, we'll
6 begin doing qualified volumetrics at that time.

7 DR. SHACK: Also, you do a leak detection
8 according to Section 11 requirements. Again, what is
9 the frequency of that leak inspection?

10 MR. LUNCEFORD: If you are referring to
11 the VT-2 exam that is performed, that's a normal
12 pressure test that is performed at the end of every
13 refueling outage so once every 18 months.

14 MR. MACFARLANE: Just as an add, what they
15 do now is when we shut down we have what we call the
16 sandbox covers that go over the reactor vessel nozzle
17 areas which is the area where VC Summer had their
18 crack. When we pulled those off we go in and we do a
19 visual inspection of that area looking for any change,
20 particularly indications of boric acid leakage and
21 that's done every outage.

22 DR. SHACK: What is your insulation in
23 that area, mirror?

24 MR. MACFARLANE: All our RCS piping and
25 vessel and stuff is reflective metal insulation, RMI.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LUNCEFORD: And I'd also add while
2 we're on the topic, we had performed the bare metal
3 visual examinations on all the pressurizer 82, 182
4 welds as well for both units 1 and 2 now with no
5 unacceptable results.

6 MR. FRIDRICHSEN: Well, that --

7 DR. BONACA: I have one last question.

8 MR. FRIDRICHSEN: Okay.

9 DR. BONACA: There is a hot issue on the
10 table and I'm sure there is a sump recirculation
11 issue. Any insights on that?

12 MR. FRIDRICHSEN: We're prepared for that.

13 MR. MACFARLANE: I'd say we are prepared
14 for that. In terms of the containment sump for
15 Farley, just to give you a little brief background
16 into our sump design, the Farley containment sumps are
17 located on the bottom floor and it is essentially a
18 screen box structure over top an intake pipe. It's
19 not a recess sump like some plants will have.

20 They stood outside the bio wall and,
21 therefore, the main loop piping and vessel are remote
22 from where these sumps are located. The Farley
23 containment design ever since original construction
24 essentially have minimized any type of fibrous
25 insulation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The initial thought was that we had none
2 but we have done a little research and found a couple
3 locations. Primarily on all the reactor vessel and
4 primary piping is reflective metal insulation, same
5 thing with main steam and feed water.

6 MR. SIEBER: Steam generators?

7 MR. MACFARLANE: Steam generators. When
8 we did steam generator replacement we actually looked
9 at possibly using the thermal lag type insulation like
10 -- I forget the brand names, Newcon and those types of
11 insulation that are fibrous with a metal jacket.

12 We actually decided in that process that
13 we had gotten a lot of benefit at minimizing any
14 fibrous insulation in our containment so we made a
15 conscious decision to go back with reflective metal
16 insulation, even though we thought we got a little
17 better performance out of the other types of
18 insulation from a thermal insulation factor.

19 Right now we are doing this head
20 replacement. When we did containment inspections as
21 the result of some of the bulletins that came out on
22 this sump issue, they found that around some of the
23 penetrations where like the CRDMs penetrate the
24 insulation package, there was this insulation material
25 called Tempmat which is a fibrous -- it's like a cloth

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 but it's fibrous.

2 In going back with the new insulation
3 package on the new head it will not have that so we're
4 aggressively trying to eliminate those type of things
5 where we can. The only other location, there's a
6 little bit on the bottom head. However, that is
7 limited by the reactor cavity which really does not
8 come in contact with the containment sump. That is
9 actually at an even lower elevation and it's enclosed
10 to not flood during a recir event.

11 The only other place we have it is on
12 sensing lines on the steam generators and they are
13 located up above all the main loops. They are
14 actually not in -- the only impingement zone they're
15 in is their own. If that sensing line itself were to
16 fail that you might get some damage there.

17 Overall we think we have pretty robust
18 design features in terms of minimizing some of these
19 aspects in terms of insulation. We've done coatings
20 inspections. Overall our coatings are in excellent
21 shape. We've actually had some comments from
22 inspectors when they walked in there.

23 We have aggressively been looking at that
24 and some of the way you are going to quantify this
25 stuff is still up in the air in terms of how to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 evaluate your sump so we are still waiting on
2 resolution. There is a proposed NEI process and I
3 know ACRS looked at that here recently and had some
4 comments on it.

5 What we're doing is what we can today. We
6 suspect if the conservatisms that are currently in the
7 methodologies continue to exist that we will probably
8 have to change out our sump screens but we have not
9 reached that conclusion yet but we do believe that is
10 probably where we will end up.

11 DR. BONACA: Okay.

12 DR. RANSOM: I have one question on the
13 flow-accelerated corrosion program. I know it was
14 discussed there and they mentioned extending the
15 auxiliary feedwater turbine exhaust line or extending
16 the program to that but there was no detail on how
17 these inspections are performed or how often they're
18 performed or how thoroughly they're performed.

19 What I'm thinking is that flow-accelerated
20 corrosion is often times a very localized effect
21 having to do with the scrubbing and the piping or
22 steam droplet impingement or cavitation response. The
23 question would be how do you find that sort of thing?

24 MR. MACFARLANE: We use a combination of
25 methods. We do all our FAC program in-house. It's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 all done at Southern Nuclear.

2 DR. RANSOM: How often is that done?

3 MR. MACFARLANE: We do inspections every
4 outage and, of course, what we look at is -- the
5 process they go through to determine what we look at
6 is we use Checkworks which is the industry program for
7 modeling FAC. We also use -- that's about 40 or 50
8 percent of the effort but then other parts we've got
9 is really operating experienced based and industry
10 based where they go in and you have to refine what
11 you're going to go look at.

12 The model is not perfect. We look at
13 those kinds of things every time an issue comes up.
14 There was an issue on I think backside FAC on some
15 welds and we did inspections related to that. The
16 Japanese event that just happened recently we went in
17 and looked at our programs to see if we had any
18 equivalent areas and whether or not we had inspected
19 it. Essentially we don't have a similar system to
20 theirs in that they have de-aerated feed tank that is
21 part of that issue.

22 However, we did find what was our closest
23 equivalent to that which we had inspected in the past
24 and we went ahead and did enhanced inspections
25 subsequent to the Japanese event just to double check

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it. We are proactively staying in this. They
2 participate in the industry, the EPRI FAC Working
3 Group and those types of things.

4 DR. SHACK: It says you are replacing
5 piping with the chrome-moly stuff. What fraction of
6 the piping is now chrome-moly?

7 MR. MACFARLANE: Essentially, the areas
8 that have had to have FAC replacement so far have been
9 limited to the turbine building. We just recently had
10 some go into the aux building. That was a recent
11 occurrence. Essentially your worse locations tend to
12 be out in your MSR areas and then your cross-under
13 piping under your turbine and the condenser and those
14 kinds of things.

15 Then it progressively starts to move out.
16 We do inspections throughout just to make sure we
17 properly predicting what is going on. That is kind of
18 what has been going on. We don't always replace
19 chrome-moly. It's going to depend on what it is and
20 then how expensive it is and those kinds of things and
21 what kind of wear rates we're seeing. I can't answer
22 your question on how much is chrome-moly. I don't
23 have that familiarity with it.

24 DR. SHACK: Just while -- you replaced
25 some nozzles with Alloy 508 and, again, in the SER it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 says when you replace with the resistant materials you
2 keep the piping in the program, although presumably
3 you take credit for the lower wear rates. When you
4 replace the nozzles with 508 will they stay in the
5 program?

6 MR. MACFARLANE: To what nozzles are you
7 referring?

8 DR. SHACK: Steam nozzles.

9 MR. MACFARLANE: Oh, in the steam
10 generator itself? In terms of the replacement steam
11 generator the main steam out of the generator has an
12 extremely low moisture content so the main steamlines
13 themselves are not actually FAC-susceptible due to the
14 actual environment. That is talked about in the LRA
15 and was evaluated by the staff.

16 It's really when you get into the drains
17 and downstream is where you start seeing the FAC. So,
18 to answer your question, that is really is not
19 considered an aging effect for that. The moisture
20 carryover when we did the testing post-SGR replacement
21 was in the -- let me see if I get this right -- .04
22 percent or something like that. It's extremely low,
23 the actual moisture carryover.

24 MR. SIEBER: I think Vic's question
25 related to what resolution do you get out of one of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 these inspections. The way I've seen them done in a
2 lot of plants for the inspection people to establish
3 a grid over an area the Checkworks tells them to look
4 at in the spacing of the lines on that grid determine
5 what the resolution is. Maybe you can tell me what
6 your spacing is. Is it 1 inch by 1 inch or that kind
7 of range?

8 MR. MACFARLANE: I don't actually know
9 what the spacing is to be honest with you. I've seen
10 them actually drawn on the pipes out there. They seem
11 like reasonable grids. The actual selection of what
12 gets inspected is actually not dictated by Checkworks.
13 It's dictated by the FAC engineer who determines where
14 they are going to go inspect.

15 He's got Checkworks and he's also looking
16 at other industry inputs in terms of things that have
17 been seen. The grids themselves, you know, they're
18 covering -- you know, they do say they are looking at
19 a weld location or a component location. They do
20 quite a bit upstream and downstream to make sure they
21 get a good look at what's going on in the vicinity
22 because FAC is generated by a flow disturbance in a
23 lot of ways.

24 MR. SIEBER: It's turbulence a lot of
25 times that causes an eating out and that disturbance

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in the wall reduction usually varies depending on the
2 flow or the fluid conditions. If you have a plant
3 that starts up and shuts down or cycles load or
4 something like that, that can be a wider area than the
5 plant that's running 100 percent power all the time
6 because then the flow disturbance issues are fixed in
7 one place.

8 Basically that's how this is done in one
9 inch. Even though we won't hold you exactly to that
10 number, this is typically what everybody uses so you
11 have a series of data points that you can map out and
12 determine where the wall thickness is reduced and
13 where you have to do something.

14 DR. BONACA: Right.

15 MR. LEITCH: I had another question about
16 a fact while we are right in that area. You mentioned
17 in the commitments that the aux feed water turbine
18 exhaust piping will be included in the flow-
19 accelerated corrosion program prior to the period of
20 extended operation.

21 Does that mean that is not going to be
22 looked at until right prior to the period of extended
23 operation? That sounds a little lax. I don't know if
24 that's an area that is not particularly subject to
25 flow-accelerated corrosion. Why wouldn't you be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 looking at it sooner I guess is my question.

2 MR. MACFARLANE: The reality of what we're
3 doing actually is going into the program. As we speak
4 I'm not sure that the program document has been
5 totally revised yet but it has been communicated to
6 the FAC engineer and he is in the current revision of
7 this FAC program, which I can't remember has come out
8 yet or not, is going to include that item.

9 In terms of susceptibility it is a low
10 susceptibility area. It's just one that we felt we
11 would be better off putting in is really the
12 determination we made. Of course, we're not the FAC
13 experts, per se, but he agreed with this in terms of
14 adding it into the scope.

15 That would be a reasonable and
16 conservative approach.

17 It will be in the program. In general our
18 philosophy for most of these programs is that they
19 will be implemented well in advance of the period of
20 operation. It's just the language that was used in
21 terms of making the commitment.

22 MR. LEITCH: Okay. I understand. Thank
23 you.

24 DR. BONACA: Why don't we take a -- this,
25 I think, will close the presentation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. FRIDRICHSEN: Just some closing
2 remarks. We think that the staff's process was very
3 thorough, very rigorous. We think they gave us quite
4 a good scrubbing. We think that the new process, the
5 new consistent GALL process added a lot of depth and
6 clarity, a lot of better understanding of our programs
7 by the staff. That had value, I think, to both staff
8 and us. Other than that we are grateful for the
9 subcommittee's time and your attention and willing to
10 listen to us. That's all I have.

11 DR. BONACA: Thank you. With that we'll
12 take a break for 15 minutes. Do you have a question?

13 DR. SHACK: No, just cheering.

14 DR. BONACA: Okay. Get back at 3:35.

15 (Whereupon, at 3:19 p.m. off the record
16 until 3:36 p.m.)

17 DR. BONACA: Okay. Let's resume the
18 meeting. Before we start the presentation, just a
19 brief announcement. The red line on the Metro Rail is
20 shut down for tonight because there has been an
21 accident. Apparently there has been a crash on the
22 Red Line. Just to let you know in case you use it.
23 I use it.

24 MR. SIEBER: We could just keep on going.

25 DR. BONACA: It's not easy but we'll find

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 some way.

2 DR. SHACK: Hitchhike.

3 DR. BONACA: Hitchhike, yes. We'll try
4 not to delay too much the meeting. We have now the
5 presentation of the NRC so we'll proceed with that.

6 MS. LIU: Thank you for that information,
7 Dr. Bonaca. Dr. Bonaca and distinguished members of
8 the subcommittee, good afternoon. My name is Tilda
9 Liu and I'm the

10 DR. SHACK: What about the rest of us, but
11 that's okay.

12 MS. LIU: All of you are distinguished.
13 I am the project manager for the Farley License
14 Renewal Application with the Office of Nuclear Reactor
15 Regulation. This afternoon's agenda is as follows.
16 I'll go over overview and highlights and we'll go over
17 the review process, SER Section 2 on scoping and
18 screening. And Caudle Julian will be talking about
19 license renewal inspections. We'll talk about SER
20 Section 3, AMPs and AMRs. Finally, Section 4 on
21 TLAs. We'll sum it up with a conclusion.

22 This slide provides an overview of the
23 Farley application. Farley is the very first renewal
24 application that used the newly revised NEI format.
25 That includes Table 1, Table 2, and standard notes for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the tables.

2 This is also the first pilot renewal to
3 fully implement the consistency with GALL audits for
4 AMPs as well as AMRs otherwise known as the new review
5 process. Before I go further into the presentation,
6 I would like to point out the staff's conclusion which
7 is Farley has met the requirements of 10 C.F.R. 54 in
8 terms of scoping and screening AMPs, AMRs, and TLAAs.

9 Highlights of the review. The draft SER
10 was issued on October 15, 2004. There was no open or
11 confirmatory item associated with the review. The
12 staff noted that efficiencies were gained from the new
13 review process. This is evidenced by a reduction in
14 the number of REIs as well as on-site audits provided
15 very effective interaction between the applicant and
16 the staff which resulted in minimum number of formal
17 correspondence.

18 I would like to provide your perspective
19 on REI related statistics. There were a total of 163
20 REIs issued by 17 letters. Particularly, there were
21 64 on scoping and screening, 15 on AMPs, 70 on AMRs,
22 and 16 on TLAAs. I would like to point out that the
23 70 questions from AMRs only three of which were from
24 the audit team.

25 I would like to give you another

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 perspective on the number of REIs from the other
2 applications. There were 280 for Summer, Robinson
3 there were 360, and Ginna there were 224. These are
4 all very similar Westinghouse designs to the Farley
5 plant.

6 I also would like to point out the efforts
7 involved for the staff in this new process. We held
8 two meetings to discuss REIs and 56 telephone
9 conferences to discuss these REIs. Because these REIs
10 came in batches from the staff and we discussed them
11 as we went along, we might have had two big phone
12 calls or two big meetings.

13 In addition to the REI responses provided
14 by the applicant, the applicant also provided
15 supplemental information to the application as well.

16 Continue on the highlights of the review.
17 We had three license conditions. The first is very
18 standard that you see in all the other applications.
19 It's the FSAR update to be followed for the issuance
20 of renewal license and that the commitments will be
21 completed in accordance with the schedule.

22 The third license condition, I understand
23 was added to Dresden/Quad as well, relates to the
24 Reactor Vessel Surveillance Program. This third
25 license condition requires that all capsules in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reactor vessel that are removed and tested must meet
2 the test procedures and requirements of ASTM standards
3 to the extent practicable and that any changes
4 associated with the capsule withdrawal schedule and
5 capsule storage requirements must be reviewed and
6 approved by the NRC staff.

7 More on highlights of the review.
8 Additional components from eight systems, auxiliary
9 systems, were brought into scope as a result of the
10 applicant's revised methodology to 10 CFR 54.4(a)(2)
11 as the applicant mentioned earlier.

12 Of the eight systems three resulted Table
13 2 in Section 3 revised for AMR line items.

14 There was one Aging Management Program
15 that was added after the application submittal. That
16 was a plant specific AMP. It is Periodic Surveillance
17 and Preventive Maintenance Activities Program.

18 MR. LEITCH: Regarding systems that were
19 added to the scope -- brought into scope, I guess fire
20 protection is an (a)(3) system.

21 MS. LIU: Correct.

22 MR. LEITCH: Were there any major
23 additions to the fire protection program? I guess it
24 just seems to me that a number of applicants in the
25 past have had problems and it's been kind of a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 contentious area about whether certain things are
2 included or not included with respect to fire
3 protection. Do you have that here?

4 MS. LIU: Fire protection was not one of
5 the systems that was brought in scope.

6 MR. LEITCH: Okay. So I guess you feel
7 quite confident about the scoping of the fire
8 protection program.

9 MS. LIU: Yes. We went through a lot of
10 details with the applicant and a lot of effort between
11 the applicant and staff resolved the differences.

12 Moving onto the review process, this slide
13 provides a listing of the activities associated with
14 the staff's review process which includes scoping and
15 screening methodology audit. As you know, there's
16 consistency with GALL audits, table-top which is the
17 in-house safety review, and regional inspections which
18 Caudle will be talking about earlier.

19 This next slide shows dates associated with the
20 various inspections in August that I have just
21 mentioned in the previous slide.

22
23 If I may provide you a conclusion
24 statement first before I go further into discussion on
25 Section 2 associated with the staff's review on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 scoping and screening. The staff concluded that the
2 applicant's scoping methodology meets the requirements
3 of Part 54 and that the applicant's scoping and
4 screening results included all SSCs within the scope
5 of the license renewal.

6 Section 2 on scoping and screening
7 methodology. Staff review and on-site audit
8 determined that the applicant's scoping and screening
9 methodology meets the rule. As I mentioned already,
10 staff identified SSCs that meet the Part 54 for (a)(2)
11 criterion and additional components regarding the
12 scope for eight systems from the auxiliary systems.

13 There was an RAI, as Dr. Leitch pointed
14 out earlier, to do with (a)(2) and I'll be discussing
15 that in the next slide. The initial methodology that
16 was presented by the applicant was as follows. It
17 uses the spaces approach and eliminate the 20-foot
18 criterion and extended valid targets to include
19 mechanical and structural -- I'm sorry, valid targets
20 include mechanical and structural SSC. That was the
21 revised scope. The original scope, like I said, was
22 only a 20-foot radius and limited only to electrical
23 targets. Upon this revision included all targets,
24 electrical, mechanical, as well as structural. That's
25 all I have for that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: They replaced this 20 feet
2 with some spacing?

3 MS. LIU: Spaces approach. Correct.

4 DR. WALLIS: What was the physical basis
5 of that?

6 MS. LIU: I'd like to defer that to Greg
7 Galletti. He will be giving more details about that
8 one.

9 MR. GALLETTI: My name is Greg Galletti.
10 I'm with the Plant Support Branch. We did the scoping
11 and screening audit. With respect to the 20-foot
12 criteria, once the applicant had decided to abandon
13 that criteria in support of going to a spaces
14 approach, the space as defined here would be a
15 continuous room that you have solid walls that would
16 isolate that room from another location. Or you could
17 have, for instance, a long hallway. That entire
18 hallway would be considered a contiguous space.

19 DR. KUO: And, Greg, at this time could
20 you also say something about the question before on
21 the REI 2.1-1?

22 MR. GALLETTI: Sure. This is with respect
23 to Dr. Leitch's question regarding the air gas
24 systems. Just as a brief history, as you know, this
25 issue goes way back to the early hatch days where we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 were discussing the fluid-filled piping and the
2 likelihood of a pipe falling or causing an interaction
3 with a safety-related component.

4 As part of the resolution to those issues,
5 we had put together the ISG. The ISG actually came as
6 two independent letters. The first letter really
7 addressed the fluid-filled portions of the system.
8 The second letter then went on to address nonfluid-
9 filled systems, air gas systems in particular.

10 In the second letter what we requested and
11 required the applicants to do is to perform an
12 evaluation, if you will, based on industry operating
13 experience as well site specific operating experience
14 to determine whether there could be the potential for
15 air gas system interaction with those safety-related
16 SSEs. In particular, what we were looking for is for
17 them to discern "hypothetical failures" from true
18 failures. Again, to be consistent with the rule and
19 also to try to limit broadening the scope beyond what
20 was reasonable for the regulation.

21 With that, what we found in this
22 particular case is the application didn't have
23 explicit information in there with regard to the
24 evaluation of the air gas systems. Section 2.132, I
25 believe, is the (a)(2) evaluation. It goes through

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the various criteria but it was, again, not explicit
2 with their gas.

3 During the audit we went into that level
4 of discussion to understand what implementing guidance
5 they had to review this sort of thing and through
6 interaction with their staff we came to understand
7 that, in fact, they did perform both a site specific
8 evaluation looking at corrective action, incident
9 reports, things of that nature, things that happened
10 at their particular plant which may lead to
11 understanding for the potential of air gas
12 interactions.

13 As a result of that conversation, we felt
14 it was appropriate to ask the RAI simply because we
15 wanted to get that better documented and be able to
16 respond to that in the safety evaluation. That's
17 really the genesis of why that question came up in
18 this particular case.

19 MR. LEITCH: I guess I was just puzzled by
20 the approach which seems to be to say based on
21 operating experience this is a noncredible scenario.
22 That is, it's noncredible that the line would fail.

23 MR. GALLETTI: Well, again --

24 MR. LEITCH: Well, I mean, I can
25 understand an approach that perhaps said given a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 failure we don't expect to see any damage to a safety
2 related system but it sounds like from the RAI and the
3 response to the RAI that basically what the argument
4 is is that a failure is not credible. Not that damage
5 from the failure is not credible but the failure is
6 not credible.

7 MR. GALLETTI: Well, quite frankly, it
8 would be both but, in this case over the course of
9 years of review and discussion with NEI, we have not
10 identified either industry or, in this case, site
11 specific operating experience that shows that you
12 would have those sorts of failures of these air gas
13 systems which would, in fact, compromise your safety-
14 related components. I think that is a fair factual
15 statement as far as what we have been able to
16 determine through review of operating experience as a
17 whole.

18 MR. LEITCH: Well, I can think of cases
19 where -- maybe this isn't -- maybe this doesn't fit
20 the classification. I'm thinking of systems where an
21 instrument airline in containment has failed causing
22 the misoperation of an MSIV, for example. I guess
23 it's not really -- the instrument airline is not
24 safety related but the MSIV is. It's not an
25 impingement kind of a problem. It's the failure that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 causes the --

2 MR. GALLETTI: Well, I think in most cases
3 where you have a true safety-related component that
4 relies on a non-safety-related subsystem, if you will,
5 to perform its function. In most cases those
6 subsystems are designated as safety related for those
7 particular plants so you are not going to have this
8 (a)(2) interaction. In fact, you'll probably see
9 those things brought in the scope for (a)(1) purposes.

10 MR. LEITCH: Yeah, I think that's right.
11 I think the cases I was thinking of, as you correctly
12 point out, would probably be (a)(1) situations. Yeah,
13 okay. That's good. Thank you.

14 MR. GALLETTI: Sure.

15 MS. LIU: Okay. We're on slide No. 14.
16 Section 2.2, plant-level scoping results. The staff
17 identified SSEs that met the (a)(2) criteria and
18 additional components requiring the scope for eight
19 aux systems as I mentioned earlier.

20 For the scoping screening results related
21 to mechanical systems, we looked at reactor vessel,
22 reactor systems, ESF systems, aux systems, and steam
23 power conversion systems. In addition to these, part
24 of the staff review included a plant scope inspection
25 conducted by the region. The inspection was conducted

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in May of this year.

2 Slide No. 15 continues on with the scoping
3 results. We looked at for the containment systems
4 which includes PWR concrete containment, aux building,
5 diesel generator building, turbine building, and other
6 structures and supports. Finally, for electrical and
7 INC systems there were 10 electrical and I&C commodity
8 groups subject to AMR and the staff concluded that all
9 were included.

10 The summary of scoping and screening, the
11 staff has concluded that the applicant included all
12 the SSEs within the scope of license renewal and that
13 the applicant's scoping methodology meets the
14 requirements of Part 54.

15 At this time I will turn over the
16 presentation to Mr. Caudle Julian to brief you on the
17 results of the license renewal inspections. Caudle
18 was a team leader in these inspection efforts.

19 MR. JULIAN: Thank you, Tilda. My name is
20 Caudle Julian from NRC Region II out of Atlanta.
21 Myself and my inspection team have been doing all the
22 inspections for Region II. We try to keep the same
23 team together and have hopefully consistent results
24 that way.

25 You've seen these slides before so we'll

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 not spend time on 17. It's pretty self evident.
2 We've talked about how the program goes before. Slide
3 18 talks about the scoping and screening inspection
4 and I'm sure you are well aware of the purposes of
5 that inspection.

6 The scoping and screening results at
7 Farley were very, very good. We had nearly no issues
8 to talk about there at all. I think maybe the issue
9 you mentioned about the inconsistency and the tank
10 vents being in scope was one that came up and all we
11 know for sure it's an inconsistency in the drawing.
12 Some drawing showed it in scope and some didn't and
13 they corrected that issue now.

14 The next inspection, which is two weeks
15 long, the Aging Management Program inspection. Again,
16 slide 19 speaks for itself and we have seen it before.
17 At Farley, again, we had very few issues to talk
18 about. We were doing this one in conjunction with
19 this time a pilot inspection of the service water
20 system.

21 That's another issue that the regions have
22 been tasked with pursuing now and we are doing three
23 of those in Region II and Farley was selected as one.
24 The same people who would be on my team doing the
25 license renewal inspection went a week or two before

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and looked hard at the service water system and its
2 monitoring and performance and found it in good
3 condition.

4 During the Aging Management Programs we
5 looked at existing programs that have been there for
6 years and we thought that in general they are all
7 functioning very well. The only problems we ran into
8 there were some what I'm going to call anomalies in
9 results of fire protection surveillances where there
10 were some fire protection routine surveillances that
11 over time had shifted in our methods of performance
12 and so the criteria that was traditionally there from
13 the day the plant was started up was not being fully
14 met.

15 The licensee is looking into that matter
16 and we are going to pursue that, Region II is, in the
17 future inspection. We have our routine fire
18 protection inspection coming up in the spring. But
19 that was not an aging issue. That's just a routine
20 day-by-day issue. As we discussed before, those we
21 turn over to routine follow-up by the region.

22 MR. LEITCH: Caudle, I have a question
23 about your methodology a little bit. In the
24 inspection report, attachment 2, pages 17 and 18 list
25 a list of systems that are in scope it says yes, or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 not in scope it says no. Some of your methodology
2 looks at those not in-scope systems and confirm with
3 the applicant that they, indeed, did not have
4 components that should be in scope.

5 Now, what I was wondering is how did that
6 list -- let me ask the question this way. Were there
7 other not-in-scope systems that were not on that list?
8 In other words, that was the licensee's list of in
9 scope and not in scope. Did you look at any other
10 not-in-scope systems other than the ones that the
11 licensee said were not in scope?

12 MR. JULIAN: No, we have not been doing
13 that. On the scoping and screening inspections we
14 typically have started with the licensee's conclusion
15 that you've seen in his license renewal application
16 and there is always some inclusion of marginal ones,
17 I guess, that they consider to be in scope and
18 concluded no and our purpose is to go down and talk
19 with them and look at the system in more detail than
20 you could from the application and agree with their
21 conclusion.

22 MR. LEITCH: So you agree with their
23 conclusions that those systems ought not be in scope
24 but you didn't really test -- if I'm understanding you
25 correctly, you didn't really test whether there might

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be other systems that were not in scope that should
2 have been in scope.

3 MR. JULIAN: We have not been doing that
4 in the past. There's probably a wide variety of
5 things in the plant that you could do that with but
6 most things become self-evident most of the systems
7 that you look at. I mean, if you move over to the
8 warehouses and so on, it's obviously not close.

9 Most of them are not close really. One I
10 mentioned earlier that I think we challenged in other
11 places is control rod drive cooling systems. That was
12 mentioned, I think, earlier in the meeting and we have
13 concluded that they are right. That system is not
14 needed to make the reactor trip.

15 MR. LEITCH: Okay. I just wanted to
16 understand the methodology.

17 MR. JULIAN: Yeah, that's it. Again,
18 returning to Aging Management Program inspection with
19 respect to new programs, the applicant had there for
20 our review some proposed implementation plans and
21 proposed procedures that they intend to use in the
22 future and that gave us a good feel for what their
23 future plans are like. Some people are that advanced
24 and some people are not at this stage but we thought
25 that Farley did a good job in that area.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We did lots of equipment walk-downs,
2 visual observation of the equipment in the plant. We
3 concluded that the material condition is being
4 maintained adequately at Farley. We had very few
5 things we ran into that caused us any problem at all.

6 In the fire pump house we saw a few, one,
7 two, three, rusty components, mainly pipe supports
8 than actually structural beams and they come from
9 water being continually flooded on the floor. That
10 condition had already been identified by the applicant
11 and they had already written a condition report on it
12 and that's good if they are out ahead of us
13 identifying things and write them up. We like that.

14 We had a question about some service water
15 piping where it comes out of the service water intake
16 structure that's in a concrete vault that has
17 obviously been flooded in the past. Some of my
18 inspectors raised the question about, "Gee, that big
19 pipe looks rather rusty on the outside and it's been
20 flooded and exposed to air again off and on over the
21 years. Don't you worry about the pipe corroding
22 through from the outside?"

23 I understand that the applicant wrote a CR
24 on that and there's numerous other little conditions
25 like pipe supports and things in that area that could

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be flooded that they've written up and intend to
2 repair in due course.

3 So our conclusion about the Farley plant
4 as we saw it is that we saw nothing major in terms of
5 material condition that presented any kind of a
6 serious aging concern to us. We think Farley is in
7 good shape and they are working hard to keep it that
8 way.

9 In fact, one of the inspectors on my team
10 again turned out to be a previously assigned resident
11 inspector at Farley several years ago, six or eight
12 years ago, and his conclusion personally was that the
13 plant looks better today than it did when he was there
14 several years ago and that's always good for us to
15 hear. That concludes what I have to say with respect
16 to inspections.

17 On the next slides we'll put up the
18 performance indicators. That's already been
19 mentioned, I think, by the Farley folks, Unit 1. The
20 next slide is Unit 2. They are very much identical.
21 Farley is all green with respect to the reactor
22 oversight process. We've had no significant findings
23 in the last few years that would even approach moving
24 into the white or other area more significant so
25 Farley is a good performer as far as we are concerned.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SIEBER: I take it, though, even if
2 the performance was not as good as this, it would not
3 factor into license renewal under the rule.

4 MR. JULIAN: Yes, that is correct but the
5 reason we address this issue is because the committee
6 seems interested in it. Every time the question is
7 asked so we bring the information forward each time.

8 That concludes what I have to say. Tilda,
9 I turn it back to you.

10 MS. LIU: All right. Thank you. Caudle.

11 DR. BONACA: I'll take just another second
12 to make a correction to my previous announcement of
13 the Red Line. I found additional information. The
14 Red Line is closed between Dupont Circle and Van Ness
15 but is open in other areas and they have a bus service
16 going from one station to the other. The problem is
17 only for those who have to go through that track of
18 road.

19 MR. JULIAN: That's good news.

20 DR. BONACA: That is better than what was
21 given to me before that I announced.

22 MS. LIU: Well, Dr. Bonaca, thank you for
23 that wonderful news. I feel so much better now.

24 DR. BONACA: With that --

25 MR. MACFARLANE: Do you if it's in both

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 directions?

2 DR. BONACA: It sounds as if both
3 directions are closed but they have a bus service.

4 MS. LIU: Thank you again, Caudle. Moving
5 on to Section 3 of the SER. I would like to summarize
6 first that, again, the staff found that the applicant
7 met the 10 CFR Part 54 for AMPs and AMRs. In the SER
8 Section 3.0.3 is where we discuss the AMPs.

9 DR. KUO: Please speak louder.

10 MS. LIU: Okay. Thank you. Sections 3.1
11 through 3.6 is what you see in the application and
12 that is how the staff presented in the same order in
13 our SER as well. Can everyone hear me better now?

14 DR. KUO: Louder.

15 MS. LIU: Maybe it's the mike. Thank you,
16 Ken. Moving on to GALL review and audit. Again, this
17 is the first pilot that we fully utilized consistency
18 with GALL audits for AMPs and AMRs. These audits were
19 conducted on site as SNC headquarters in Birmingham,
20 Alabama. The staff's review process is described in
21 SER Section 3.0.2.

22 I want to give you another perspective on
23 how we decided which ones were going to be GALL
24 audited. The first is, of course, being consistent
25 with GALL and that there should be no associated

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 emerging issues or interim staff guidance on the
2 development. In the case for Farley past precedents
3 was not used for the review by the audit team.

4 Continue on the review and audits. The
5 audits consisted of NRC staff and contractors and a
6 site specific audit plan was developed and used to
7 conduct the AMP and AMR audits. The AMP audit was a
8 week in length. The audit team evaluated the AMPs
9 that are consistent with GALL including those with the
10 exceptions and enhancements. Again, this is
11 documented in staff's SER in Section 3.0.3.

12 The AMR audit was about a week and a half
13 in length. The staff reviewed those AMR line items
14 are consistent with GALL and for both AMP and AMR
15 audits the staff performed extensive in-house review
16 prior to going on site at the applicant's Birmingham's
17 office.

18 DR. WALLIS: When you said they are
19 consistent with GALL, does this mean they had a C+
20 grade or do they get an A grade? How good are they?
21 Are they barely consistent or do they go way beyond
22 what is necessary?

23 MS. LIU: The applicant's claim is
24 consistent.

25 DR. WALLIS: They are barely adequate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 then?

2 MS. LIU: I believe Dr. Ken Chang will
3 discuss that further later on.

4 DR. CHANG: What Tilda say is the
5 applicant claim that these AMP are consistent with
6 GALL. The other team's job is to go there to dig into
7 the antenna documents, the basis documents, supporting
8 references, calculations, etc., to verify what they
9 say consistent with GALL is whether that is A+ or C-
10 and we find most cases that GALL is B+.

11 DR. WALLIS: B+.

12 DR. CHANG: Above.

13 DR. WALLIS: Above B+.

14 DR. SHACK: On your previous one when you
15 said that past precedents is not used for FMP review,
16 that's strictly for this audit. I presume when you're
17 writing the SER you do go back to past precedents but
18 that is strictly for the audit?

19 MS. LIU: That is correct. In Farley's
20 case because Farley was very kind we asked them to
21 participate in the audit process, but the time frame
22 was very short so Farley did not have the opportunity
23 to conduct a thorough review to prepare that for us so
24 we agreed in the case for Farley, the three pilot
25 plants, Farley being the very first pilot, Farley we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 denied past precedent for the purpose of the audit but
2 for the other two --

3 DR. SHACK: Okay. So this won't be
4 practiced in the future?

5 MS. LIU: Correct. Correct. For all the
6 others after Farley past precedents will be used.

7 DR. KUO: If I may, Tilda, this is an area
8 that we try to explain the GALL scope. What we think
9 is that, you know, with those positions that staff
10 previously approved that we could incorporate this
11 experience into GALL but because Farley was the first
12 pilot plan and the time was short, they were not able
13 to compare their program with the past staff approved
14 positions so they said no, we are not going to do
15 that. We just look at the GALL.

16 However, for those positions where we had
17 the previously approved positions, they would have to
18 provide the detailed description of the program in
19 their application so they are just not taking
20 advantage of the so-called previously-staffed
21 position.

22 DR. CHANG: To support PT's statement, in
23 the subsequent audits following Farley it's about
24 evenly divided. Maybe two or three they use past
25 precedent. Two or three they don't use past

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 precedent. Regardless of whether they use past
2 precedent or not, past precedent is just a road map to
3 direct staff's attention to say, "Hey, this is our
4 basis. We say everything. We quote past precedents."

5 But the audit team cannot rely on the past
6 precedent to say, "Since there's past precedent, we
7 don't review it." We also go in there to review the
8 assumptions, the conditions, the limitations, all this
9 are consistent with GALL. It just provide us a
10 direction so we just don't look all over the place.
11 We look focused.

12 DR. SHACK: How do you cite past
13 precedent? Do you really say in the SER for Hatch
14 you --

15 DR. CHANG: No. The past precedents, the
16 utilities and the applicants normally put in the book
17 called past precedent book. In the past precedent
18 book they pointed out what are the past precedent book
19 they pointed out what are the past precedents. How
20 many plants did you use as the directions to pick past
21 precedents.

22 When they pick one they don't go to the
23 next one so they each plan may have five plants they
24 pick past precedents from. You go to the past
25 precedent book and you find out and if you go into the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 past precedents SER you find the justification
2 adequate. You quote that. That becomes your basis of
3 review and conclusion.

4 If you don't find that adequate, you go to
5 the backup justification like RAIs, like other things.
6 I don't know what other things yet but you look into
7 mainly RAI process to see whether the question was
8 discussed and how it was finished and you use that as
9 a basis.

10 DR. WALLIS: Do you ever find anything
11 wrong with GALL? I mean, GALL is treated as absolute
12 gospel. Is it really as good as that? Aren't there
13 some times when you question GALL itself?

14 DR. CHANG: We treat GALL as a
15 recommendation, as a guideline, especially for
16 somebody like me joining NRC only three years ago. I
17 just put my industrial hat together with the
18 regulatory hat and we conduct the audit in that way so
19 we do impose regulatory check and technical check.

20 DR. KUO: And, Dr. Wallis, to answer your
21 question, yes we did define a few areas that the GALL
22 was not complete. We are updating it and we are
23 trying to improve.

24 MS. LIU: Okay. Moving on to slide No. 26
25 on Aging Management Programs. There are a total of 22

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Aging Management Programs associated with the Farley
2 review. After 22 nine are considered common AMPs and
3 13 are considered component and structural group
4 specific AMPs.

5 Of these 22 AMPs eight of them are
6 considered existing AMPs, five are enhanced, and nine
7 are new AMPs. In terms of GALL consistency eight of
8 these AMPs are considered consistent with GALL and of
9 those eight two are new AMPs for Farley. There are
10 five AMPs that are consistent with GALL but with
11 enhancements and five with exceptions. There are four
12 AMPs that are new AMPs that are not consistent with
13 GALL and they are also plant specific AMPs.

14 MR. LEITCH: One of those new Aging
15 Management Programs, and I guess it's really a
16 question for the applicant, is the External Surface
17 Monitoring Program. That might be one to conclude
18 that there was no such program. I would hope the
19 answer is that there has been pieces of that perhaps
20 not formally documented and this is assembling and
21 formalizing such a program. Is that a correct
22 assumption?

23 MR. MACFARLANE: Is your question
24 concerning how we do that in current space?

25 MR. LEITCH: Yeah, right. Is there an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 external surface monitoring program now?

2 MR. MACFARLANE: Not in the context of the
3 10 elements for license renewal. There is system
4 engineering walk-downs and similar types of activities
5 that are currently conducted at the plant. In reality
6 it's kind of a day-to-day thing as well as if you come
7 across something that is in a degraded condition you
8 write a condition report to get it addressed.

9 The renewal process what we had to do there was do a
10 little more formal program and also to make it more
11 rigid in terms of what areas are looked at to make
12 sure all the areas are covered.

13 It pulls in elements from existing
14 programs and will create some new things that will go
15 into it to encompass the entire scope that follows
16 into renewal. So the answer to your question is there
17 is things going on in current term space but there is
18 more to the renewal program than what we are doing in
19 current terms so it's a new program.

20 MR. LEITCH: Okay. Thank you.

21 MS. LIU: The next slide is dealing with
22 examples of AMPs with GALL deviations. I will now
23 turn over the presentation to Dr. Ken Chang who was
24 the team leader on these GALL audits. He will be
25 sharing his insights and findings associated with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 these audits.

2 DR. CHANG: Thank you. My name is Ken
3 Chang again. Before I go into the examples I would
4 like to give a little introduction of how the audit
5 teams are formed. I think I gave one before. If not
6 interested, I'm not going to talk about it. I'll move
7 right into the examples.

8 We pick three examples to discuss in
9 detail here. One is Fatigue Monitoring Program. We
10 say it consistent. Why do we talk about some programs
11 consistent with Gall? Because this program interest
12 many people including myself and it's so complicated
13 but it's so beautiful, so beautiful that I like to
14 talk about it.

15 The second one is One-Time Inspection and
16 the other one is Non-EQ Cables in Instrumentation
17 Circuits Programs. Those are with exceptions, with
18 enhancement, and enhancement and exceptions.

19 Talking about the Fatigue Monitoring
20 Program it's a new program. It will be consistent
21 with GALL when fully implemented and specific
22 components included in this program are listed. The
23 top six, four of them are exactly the same as
24 NUREG/CR-6260. Two are reasonable substitutes for the
25 two components in NUREG/CR-6260. Why don't appear

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 exactly the same? Because the plant is not the same.

2 In the NUREG/CR-6260 the sample plant was
3 Westinghouse four-loopers and finally the three-
4 loopers. You pick the comparable component in the
5 systems which sees the similar transients is loading
6 so we picked those. I don't mean we. I mean
7 applicant picked those. In addition, this applicant
8 did more than 6260 requires because it also monitors
9 RCL.

10 It also monitors other Class 1 piping
11 greater than one inch in diameter including RHR which
12 is substitute of the NUREG/CR-626-. Also other Class
13 1 components as they see fit. When I say when they
14 see fit means they see high usage factor, fatigue
15 damage. That's a very conscientious decision. So go
16 beyond 6260 which is the basis of the GALL.

17 Farley is currently using cycle counting
18 method for counting the fatigue loading. That cycle
19 counting is not manual counting. They consider both
20 manual counting and automatic counting. Within the
21 automatic counting currently they track 17 locations
22 and will be expanded to include 12 more locations for
23 a total of 29 locations.

24 In the manual counting currently there are
25 three and they are going to add in two so there will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be five so all together it's 34 monitoring locations.
2 That's plenty. That's more excessive than most of the
3 plants I know.

4 MR. LEITCH: It looks like a good program
5 going forward but to they have good data from the
6 beginning of plant operation or is that just an
7 estimate or go back through the records or how do they
8 come up with that?

9 DR. CHANG: Let me go one line more on my
10 slides.

11 MR. LEITCH: Okay.

12 DR. CHANG: But this cycle counting method
13 would be modified to use fatigue monitoring software
14 which everybody knows is the Fatigue Pro, Rev. 3. In
15 order to use Fatigue Monitoring Program you need to
16 know the past, current, and future. Also you need to
17 know the transfer function.

18 So for the past it depends on the analysis
19 and estimates. You put an estimate value for the
20 past. As technology advances, you may modify and
21 perform more additional analysis so this assumed value
22 conservative value, can be modified to benefit more to
23 give more room.

24 DR. WALLIS: Does this count the cycles
25 and assumes that each cycle is the same?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. CHANG: No.

2 DR. WALLIS: Aren't some cycles more
3 intense than others?

4 DR. CHANG: Right now it's counting cycles
5 but when they implement Fatigue Pro, Rev. 3 it's a
6 Fatigue Monitoring Program. It records Data T, Data
7 P, how many times, ramp, how fast the transient is,
8 flow rate, all those parameters. It's sophisticated.
9 Previously other plants like Ginna has approved
10 similarly. They also go the full nine yards.

11 About the past, some critical fatigue
12 systems like surge line, like the 88-08 lines -- I'm
13 not following this, sorry -- they have a recorded data
14 from April '94 to October '95 for the surge line
15 recorded. They have temperature data, transients,
16 cycles, everything. That is the basis of generating
17 a Westinghouse generic WCAP for fatigue and pressure
18 surge line reports.

19 Also from that monitoring it created
20 modified operating mode to improve the system
21 performance. They call that modified steam bubble,
22 heat-up and cool-down. You implement that operating
23 mode trending less cycles. Trending is less severe.
24 They are doing that. I'm sure you're still doing
25 that, right?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So by reviewing that auditing finds three
2 comments and those three comments are implemented in
3 a basis document as of now. It's good for one but
4 other team still find something.

5 They reduced stress-based on-line fatigue
6 monitoring on the surge line and the low head
7 pressurizer including stratification as we talk a
8 little less. They also evaluated six locations for
9 the environmental impact on fatigue. That's quite up
10 to date. They used FEA methods for fatigue lab
11 reduction factor and used conservative numbers to
12 define the limiting case. All these are very good.

13 From operating experience everybody know
14 the IE Bulletin 88-08 started from the ECCS safety
15 injection line to the loop B of Unit 2 at Farley.
16 Since then they have a very accurate cycle counting
17 and now they plan to implement the fatigue monitoring
18 software so all this will be implemented so I believe
19 -- the audit team believe this program for
20 implementing will be totally agreed, totally compliant
21 and consistent with GALL.

22 The next program I would like to talk
23 about is One-Time Inspection. It's a new and plant
24 specific AMP. I forgot to mention at the beginning
25 the audit team is only auditing 17 out of the 22

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 programs. The audit team is only responsible for 17
2 of the 22 AMPs.

3 But since this is the first time the audit
4 team goes out there, we take the liberty of looking to
5 all 22 programs but out of five programs we look at,
6 only four have review purpose only for reference.
7 It's not for using in SER. Whoever responsible for
8 that's the Division of Engineering. They are
9 responsible for input into the SER.

10 The One-Time Inspection Program is
11 addressed in commitment No. 10. The One-Time
12 Inspection Program selects and inspects representative
13 locations based on combinations of applicable
14 material, environment, and aging effect, MEA. We use
15 acronym MEA. It's normally MEAP but this time this is
16 a program.

17 The purpose of this One-Time Inspection is
18 for three purposes. One is used for location where
19 aging effect is not expected to occur such as used for
20 water chemistry control to verify that corrosion does
21 not occur. Another purpose is to validate the
22 effectiveness of other credited AMPs such as fire
23 protection and Water Chemistry Control Program. We
24 used the One-Time Inspection to verify the
25 effectiveness of other programs used to manage aging.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 One-Time Inspection is not managing aging. It's to
2 verify it's effective.

3

4 Another purpose is for locations where
5 aging is expected to progress very slowly for any
6 location which to manage the change of material
7 property, loss of material which normally occurs very
8 slowly. That One-Time Inspection is used to verify
9 that.

10 DR. WALLIS: Very slowly means nothing
11 significant happens in 40 years or something?

12 DR. CHANG: Not significant up to the
13 point of inspection.

14 DR. WALLIS: From the beginning of
15 operation?

16 DR. CHANG: From the beginning of
17 operation to the point you do the One-Time Inspection.

18 DR. WALLIS: So we're talking about
19 decades.

20 DR. CHANG: Yeah, yeah. Next slide,
21 please.

22 DR. SHACK: What's the basis of choosing
23 the One-Time Inspection to validate the effective of
24 accredited AMP? Presumably if you've got a GALL
25 compliant AMP you don't have to validate it. You guys

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 accept it.

2 DR. CHANG: In principle it's true but if
3 you see how many areas that this One-Time Inspection
4 is applied to, then you say it's beyond that. Even
5 when GALL says aging is not significant, you use that
6 to verify it is not significant.

7 DR. WALLIS: Because it's not expected to
8 occur.

9 DR. CHANG: That may be true.

10 DR. KUO: Actually, even in GALL programs
11 the combination -- I mean, in many areas the
12 combination of the two is the acceptable program like
13 water program to control corrosion and all that. The
14 GALL actually says you have One-Time Inspection to
15 verify the effectiveness of the program.

16 DR. CHANG: Okay. So the next slide
17 presented a number of components in different systems
18 that One-Time Inspection is applied. This is only a
19 sample population and there are dozens more which is
20 not here.

21 DR. BONACA: Isn't this a scope
22 significantly larger than what we have seen in some
23 other unit?

24 DR. CHANG: I can't speak to that.

25 Mike, do you have anything you can say

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about it?

2 MR. MACFARLANE: In my estimation I would
3 say no, it's consistent with what has been done on
4 previous applicants. The spray head issue has been a
5 common issue on Westinghouse PWRs. Small bore butt-
6 welded piping is another issue that is pretty
7 consistent.

8 DR. BONACA: I was commenting not on this
9 list but on the statement by the presenter that there
10 is a long list in addition to this.

11 DR. CHANG: Maybe this long list belong to
12 every plant.

13 MR. MACFARLANE: What you see a lot in
14 One-Time Inspection is the staff is requesting One-
15 Times for programs that are preventative in nature.
16 In other words, those programs don't really do
17 inspections like you're not going to see a One-Time
18 trying to verify a ISI inspection but you'll see it
19 trying to verify water chemistry is adequate.

20 Typically when -- we were pretty
21 aggressive in trying to use where we had operating
22 experience to not do One-Time Inspection so we made an
23 attempt to keep this population to a reasonable level.
24 Some cases we won those arguments and in some cases we
25 did not.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. BONACA: Now I also remember some
2 applicants use the strategy of using existing programs
3 to perform the function of a One-Time Inspection.
4 They simply say, "We will perform an inspection under
5 the ISI Program," but it's still a One-Time Inspection
6 identified as such.

7 DR. CHANG: All right. Thank you. And
8 the example I would like to bring up is the Non-EQ
9 Cables Program. It's a new program that will be
10 consistent with GALL with exception. The exception is
11 the Non-EQ cable used in circuit with sensitive high-
12 voltage low-level signals are tested in accordance
13 with the alternate XI.E2 program.

14 This to me doesn't seem to be an
15 exception. It's just an acceptable alternative. It's
16 recognized. Through the audit we are able to find two
17 things that need to be changed to make this program
18 really consistent with GALL. One is the program
19 itself originally said you test selective sample.
20 GALL requires that you test all cables.

21 The GALL apply this program to the cables
22 and connectors. Originally the program only includes
23 cables, no connectors. We also change the basis
24 document and necessary documents to include this
25 change. These are two changes identified by the audit

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 team and it's in the program now.

2 Before I turn it over to the Reactor
3 Vessel Surveillance -- oh, okay.

4 MS. LIU: Thank you, Ken. I want to brief
5 the subcommittee on this AMP because we had a license
6 condition associated with it as I mentioned earlier
7 which resulted from the staff's review of the AMP.
8 The Reactor Vessel Surveillance Program is an existing
9 AMP that is consistent with GALL with one exception.
10 The single exception is the proposed surveillance
11 capsule withdrawal schedule. GALL specifies that all
12 remaining capsules are to be removed at a 60-year
13 fluence and alternative dosimetry is to be installed.

14 For Unit 1 at Farley SSE has removed one
15 capsule at a fluence approximately equivalent to 60
16 years. For Farley Unit 2 SSE will remove one capsule
17 at a fluence approximately equal to six years.
18 Therefore, for each unit one capsule will remain in
19 the reactor vessel until fluence of approximately six
20 years.

21 The future action is addressed by
22 commitment No. 18 in the Appendix A of the SER.
23 Furthermore, the applicant committed that for each
24 unit alternative dosimetry will be installed.

25 DR. WALLIS: Do we know what kind it is,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what kind of dosimetry?

2 MS. LIU: SNC, would you respond to that?

3 MR. MACFARLANE: The plans are to -- it's
4 a Westinghouse design. It's external dosimetry.

5 DR. WALLIS: Backed by calculating?

6 MR. MACFARLANE: That's my understanding.
7 It's just validating the fluence levels that it's
8 seeing that are consistent. They are monitoring for
9 change.

10 MS. LIU: I believe Lambros Lois would
11 like to address this issue.

12 MR. LOIS: My name is Lambros Lois,
13 Reactor Systems Branch. I've been doing the fluence
14 for vessels for quite a while. Actually we have
15 developed computational tools which are quite adequate
16 to predict fluence quite into the future. Although it
17 is desirable to have additional dosimetry to verify
18 actually what the calculations will show, we have
19 quite a bit of confidence.

20 Regulatory Guide 1.190 which was published
21 in 2001 actually requires that the calculations -- not
22 measurements but calculations be used for the
23 predictive capability, the prediction of fluence in
24 the future. I hope I've answered the question.

25 DR. WALLIS: Do you have to have some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 experimental verification of this on the outside?

2 MR. LOIS: Yes, we do have continued
3 verification of that.

4
5 DR. SHACK: Why is GALL so dogmatic about
6 removing all the capsules at 60 years since we hear
7 stories at least that somebody might come in looking
8 for another 20?

9 MR. MEDOFF: This is Jim Medoff. I'm with
10 Materials and Chemical Engineering Branch. For the
11 Farley units that was the one exception where they did
12 not agree that to take out the fifth capsules and put
13 the remaining capsules in storage.

14 What they did do is provide us with an
15 updated reactor vessel surveillance capsule removal
16 schedule and demonstrated to us that the removal of
17 the 6th capsules for each unit would be done at
18 approximately the 80-year fluence equivalent so that
19 if they came in for another proposal for renewal that
20 they would have data that would be applicable.

21 MS. LIU: Thank you, Jim. Therefore, the
22 license condition, as he stated earlier, is to
23 continue meeting the ASTM standards and that for any
24 changes for the capsule withdrawal schedule storage
25 requirements must be approved by the staff.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Slide No. 34, this is NiCrFe Component
2 Assessment Program, otherwise known as the Alloy 600
3 program. This is a new AMP. This program will
4 include nickel-based alloy RCS boundary components
5 with no potential susceptibility to primary water
6 stress corrosion cracking.

7 Farley has committed by Commitment No. 11
8 in the Appendix A to the SER that you will continue
9 participation in industry initiatives such as
10 Westinghouse Owners Group and EPRI-MRP. The
11 susceptibility rankings and program inspection
12 requirements will be consistent with the latest
13 version of the EPRI and Materials Reliability Program
14 safety assessment.

15 At this time I want to turn over to Ken.
16 He would like to address certain AMPs that might be to
17 your interest.

18 DR. CHANG: In the earlier presentation
19 some discussion already had on some of my backup AMP
20 slides so I would like to go to the backup slide 76,
21 Water Chemistry Control Program. Early SNC has
22 indicated Water Chemistry Program has an exception.
23 The AMP addresses performance monitoring while GALL
24 emphasize on some hydraulic performance testing.

25 I have to say something why it is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 acceptable. The audit team reviewed the Water
2 Chemistry Control Program TR 107396 and also reviewed
3 the component cooling water pump surveillance test
4 results, heat exchanger condition reports, and the
5 history of performance, and the FNP Mechanical
6 Operating Experience reports. Reviewing those we find
7 that the AMP based on performance monitoring is
8 adequately managing these aging effects. On that
9 basis we accept the exception.

10 Let's go to backup slide 78, flow FAC
11 program. In addition to all the discussion held, the
12 audit team went into the operating experience and
13 found that through the FAC program which is in line
14 with the IN 2001-09, the program recommended eight
15 components for Unit 1 to be replaced in IR18 and one
16 component and 25 feet of piping on Unit 2 to be
17 replaced during 2R16. This gives evidence that the
18 FAC program the applicant implementing is working, at
19 least find the things they want to find, find the
20 things they should find.

21 DR. WALLIS: And taking appropriate
22 action.

23 DR. CHANG: Yes, naturally. Replacement
24 is appropriate action. Now, that means they are
25 sincere about implementing effective Aging Management

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Program.

2 Let's go to backup slide No. 82, fire
3 protection system. A question was raised regarding
4 the acceptability of the 18 months interval. The
5 audit team reviewed applicant's basis document, the
6 plant operating experience, and the fire surveillance
7 procedures. On the basis that these aging effects
8 occurs over a considerable period of time, the staff
9 judged that 18-month interval would be sufficient to
10 detect aging effects. On that basis, we say the 18-
11 month period is acceptable. And I have --

12 DR. WALLIS: What does this have to do
13 with 50 years?

14 DR. CHANG: That's 50 years. That's
15 enhancement. They put four different enhancement on
16 the program to make it better.

17 DR. WALLIS: That's an awful long time to
18 wait.

19 MR. SIEBER: That's part of the code for
20 sprinklers.

21 DR. CHANG: At or before. At or before.

22 DR. WALLIS: Nothing happens to sprinkler
23 heads before 50 years?

24 DR. CHANG: After 40 years you don't have
25 to inspect and that is in the extended period of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 operation.

2 MR. SIEBER: NFPA code. It's in the code.

3 DR. SHACK: That makes you feel a lot
4 better. Doesn't it?

5 MR. SIEBER: The sprinkler will last
6 longer than we will.

7 DR. CHANG: We go by the rules. Okay.
8 That's all the backup slides I want to bring up for
9 the Aging Management Program.

10 DR. WALLIS: So heads are made of
11 different metals?

12 MR. SIEBER: Yes.

13 DR. WALLIS: All kinds of things could
14 happen if you have a leak. But, anyway --

15 MR. SIEBER: If they fail to put out
16 fires.

17 DR. CHANG: I'm not either but I'm just
18 looking into what I should look into.

19 Okay. Back to you.

20 MS. LIU: Okay. Thank you, Ken. Moving
21 on to AMR results on Section 3.1, this is the reactor
22 systems. Reactor systems include vessel, internals,
23 RCS and connected lines, as well as steam generators.
24 The staff concluded that the aging facts associated
25 with reactor systems will be adequately managed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 through the period of extended operation. Issues
2 requiring further evaluation in GALL were evaluated by
3 the audit team and found to be acceptable.

4 I will once again turn over the
5 presentation to Dr. Ken Chang who will discuss his
6 review and findings associated with the AMR results of
7 the reactor systems.

8 DR. CHANG: For the AMR part, I just want
9 to mention two examples which I think is of
10 significance. One is loss of fracture toughness due
11 to thermal aging. GALL requires for CASS material
12 it's either enhanced volumetric inspection or flaw
13 tolerance evaluation needed to be performed. That is
14 GALL recommendation. Sorry, I did say requirement.

15 The applicant originally want to credit
16 leak before break analysis for the renewal period as
17 the flaw tolerance evaluation. The audit team noted
18 that leak-before-break analysis and flaw tolerance
19 evaluation they both using pressure mechanics
20 methodology to evaluate crack propagation. But these
21 two analyses or two programs are for the different
22 purposes.

23 Say like leak before break in the mid-'80s
24 is for the elimination of protection devices like,
25 wood break strains, jet shearing, and those for that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 purpose. It's not really evaluating how the crack
2 propagates. You just want to say it's safe.

3 That's the whole purpose, but flaw
4 tolerance evaluation is for different purposes and for
5 different purposes, for different initial flaw, for
6 different load combinations, for different acceptance
7 criteria so they are different animals. You cannot
8 use the leak-before-break analysis, fracture mechanics
9 analysis just to demonstrate it's a flaw tolerance
10 evaluation.

11 After we were through several discussions,
12 the applicant brought into argument and now by letter
13 dated August 19 the applicant revised and committed to
14 follow the GALL requirements.

15 DR. SHACK: I can't remember on the age-
16 cast stainless steel, what is the flaw tolerance
17 acceptance criteria? Is it gross failure or does it
18 pop through the crack?

19 DR. CHANG: I would ask Robert Hsu to
20 stand up and explain.

21 MR. HSU: Robert Hsu, License Renewal.
22 The acceptance criteria is in ASME Section 11 and I
23 think Appendix C have described based on the current
24 ASME code you can have up to 75 percent wall
25 thickness.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. SHACK: Okay. It's the 75 percent
2 criterion.

3 MR. HSU: Yeah.

4 DR. WALLIS: Seventy-five percent through
5 wall?

6 MR. HSU: The rule on that is go through
7 wall based on the ASME code. Only go to 75 percent.

8 DR. SHACK: Well, it's clearly very
9 different than leak before break.

10 MR. HSU: Leak before break allow run
11 through completely.

12 DR. WALLIS: But it didn't break.

13 DR. CHANG: As long as it's only a leak,
14 drips not break.

15 DR. SHACK: No drips.

16 DR. CHANG: If you perforate it, it will
17 just drip.

18 MR. SIEBER: Drip before break.

19 DR. CHANG: The second item worth
20 mentioning is under the crack initiation and growth
21 due to cyclic loading or stress corrosion cracking the
22 staff approved Farley's risk-informed ISI program in
23 March of 2004. We questioned into that, "What do you
24 use risk-informed ISI to select the location or to
25 eliminate inspection?"

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The SNC respondent is saying we only use
2 this to select location. We do not eliminate
3 location. Then we continued to ask, "Where do you
4 inspect for small bore volumetric inspection?" They
5 responded in July '04, "We inspect the 2X3 drain
6 connection on the normal letdown line by UT," which is
7 a form of volumetric inspection. Those are --

8 DR. WALLIS: That's the only thing they
9 inspected?

10 DR. CHANG: That's through the risk-
11 informed ISI process to identify the most susceptible,
12 most critical location. We don't judge whether it's
13 adequate by one or two or three.

14 So back to you.

15 MS. LIU: Thank you again, Ken. Moving on
16 to Section 3.4 -- I'm sorry, 3.2 ESF systems. ESF
17 systems include containment spray, isolation, and
18 ECCS. As you can tell from the slide, we have a total
19 of four AMPs managing ESF systems. Again, the staff
20 concluded that the aging effects associated with the
21 ESF systems will be adequately managed by these AMPs
22 during the period of extended operation.

23 DR. WALLIS: There's nothing much
24 happening on the external surfaces of these. Nothing
25 much should be happening at all.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. LIU: Correct. Moving onto Aux
2 Systems, Section 3. --

3 DR. WALLIS: Unless there's borated water
4 leaking and hanging around and cooling down.

5 MS. LIU: Section 3.3, Aux Systems. There
6 are 23 plant specific systems associated with the Aux
7 Systems. For those there are 11 AMPs that manage
8 aging effects for the Aux System components. Once
9 again, the staff concluded that the aging effects
10 associated with auxiliary systems will be adequately
11 managed during the period of operation.

12 Moving onto Section 3.4, Steam and Power
13 Conversion Systems. These systems include main steam,
14 feedwater, steam generator blow-down and so on. There
15 are a total of seven AMPs associated with steam and
16 power convergence systems in terms of Aging Management
17 Programs. Once again, the staff concluded that the
18 aging effects associated with these will be adequately
19 managed.

20 3.5, Containment Systems. Containment
21 Systems include PWR concrete containment, aux
22 building, diesel generator, and so on as you can see
23 from that list. There are a total of six Aging
24 Management Programs, four containment systems. Once
25 again, the staff concluded that these aging effects

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 will be managed by the associate AMPs during the
2 period of operation.

3 This slide we have the aging management of
4 in-scope inaccessible concrete. As you can tell from
5 this table, the below-grade environment at Farley is
6 nonaggressive and there are no history of aging
7 degradation or failure of concrete components exposed
8 to a below-grade environment. You can tell from the
9 pH level, chlorides and sulfates, they are all within
10 the limits that are considered nonaggressive.

11 DR. BONACA: It looks like distilled
12 water.

13 MS. LIU: Right. I want to point out for
14 you at the phosphate level is .03 ppm sample from the
15 service water pond. The last sample day for the
16 phosphate was March 11th of this year.

17 MR. SIEBER: They must not grow anything
18 there. No fertilizer.

19 MS. LIU: Sampling is not performed on a
20 routine basis and the service water pond is the source
21 of water for the service water system. The structures
22 exposed to pond water are service water structures and
23 other structures are exposed to ground water.

24 DR. WALLIS: Is this the one with the
25 clams in it?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. BONACA: Yes, live clams.

2 DR. WALLIS: They eat the phosphates.

3 MS. LIU: Possibly. And there was no
4 detectable phosphate in the ground water samples.
5 Finally, Section 3.6, Electrical Components. There
6 are 10 component types subject to AMR. The AMPs that
7 will be used to manage the electrical components are
8 non-EQ Cables Program, External Surface Monitoring
9 Program, and Buried Piping and Tank Inspection
10 Program.

11 Once more, the staff concluded that the
12 aging effects associated with electrical components
13 will be adequately managed during the period of
14 extended operation.

15 Moving on to TLAAs, I want to summarize
16 first by saying that the staff found the applicant
17 TLAAs met the requirements of Part 54. The TLAAs
18 include five sections as you can see from the slide.
19 On Section 4.2, Reactor Vessel Neutron Embrittlement,
20 there are five analysis affected by neutron
21 irradiation embrittlement and they are neutron
22 fluence, upper shelf energy, PTS, adjusted reference
23 temperature and P-T limits.

24 For neutron fluence the applicant's
25 analysis methods used to calculate the Farley neutron

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fluence values as projected through the end of the
2 period extending the operation follows the guidance of
3 Re Guide 1.190. On reactor vessel upper shelf energy,
4 as you can tell from this table --

5 DR. WALLIS: These are your numbers?

6 MS. LIU: That is correct.

7 DR. WALLIS: What are Farley's numbers?

8 MS. LIU: If you look at the table, Dr.
9 Wallis, the table shows the staff calculated value.
10 But for your convenience, I have also listed here on
11 this --

12 DR. WALLIS: They used it on bullet 2?

13 MS. LIU: No, on the same slide if you
14 look at bullet -- yes, bullet No. 2, as you stated,
15 the applicant's values are listed there as well. As
16 you can tell, the values are very close between the
17 applicant's and the staff's.

18 DR. WALLIS: They all use the phone
19 number.

20 DR. KUO: I hope so.

21 MS. LIU: Okay. Moving onto PTS, the
22 limiting belt-line materials at Farley Unit 1 is the
23 lower shell plate and for Unit 2 is the intermediate
24 shell plate. Again, for Dr. Wallis, the table list
25 staff calculated values.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 As you can tell, they are all within the
2 acceptable range. Again, the applicant's values are
3 191 and 208. Again, they are very close to what the
4 staff has calculated it. These values are based on
5 the fluence values for clad-to-base metal locations of
6 the reactor vessels. We used the latest report
7 surveillance capsule data for Units 1 and 2.

8 Moving onto adjusted reference
9 temperature. This table list, just for your
10 information, a comparison of the values at 1/4 T and
11 3/4 T locations for adjusted reference temperatures.
12 I have listed there for you both the staff calculated
13 value as well as the applicant calculated value.
14 Again, the values are very close between the two
15 parties.

16 On P-T limits Farley's 54 effective full
17 power P-T limits were for this based on an NRC
18 approved PTLR process. The staff approved the
19 applicant's PTLR by an SC dated March 31st of 1998
20 which allowed the applicant to generate the P-T limit
21 curves for a period of extended operation without the
22 need for a licensed amendment for the curves.

23 Farley's tech spec requires that the
24 applicant submit the PTLR to staff for docking purpose
25 only when a new fluence period occurs or when it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 revises the supplement to PTLR. The applicant will
2 generate the PT limits for the period of extended
3 operation in accordance with the NRC approved Farley
4 PTLR.

5 Moving on to Section 4.3, Metal Fatigue.
6 You may wonder why flywheel is listed here as well as
7 containment tendon pre-stress. This is the way that
8 the applicant --

9 MR. SIEBER: It's always been there.

10 MS. LIU: Okay. Because I had a staff
11 member to ask why are they listed here and I want to
12 prepare the answer to that. Moving on to the next
13 slide, slide No. 54.

14 MR. LEITCH: Just a minute. Metal
15 fatigue, charging nozzle.

16 MS. LIU: Are you talking about slide 51?

17 MR. LEITCH: Excuse me?

18 MS. LIU: This is slide No. 51, Dr.
19 Leitch?

20 DR. WALLIS: No, the next one.

21 MS. LIU: The next one. Okay, 52? Okay.
22 I'll be going over that.

23 MR. LEITCH: Okay.

24 MS. LIU: Fatigue of ASME Class 1
25 components. The reactor cooling systems components at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Farley are designed to Class 1 requirements of the
2 ASME codes. The applicant's evaluation of
3 environmental effects indicated that two components
4 may exceed the fatigue cumulative usage factor of 1.0.
5 The two components are charging nozzle and RHR safety
6 injection nozzle to the RCS cold leg.

7 DR. WALLIS: Why is that so big to
8 fatigue? Is it used that much?

9 DR. CHANG: The applicant's calculation on
10 the charging nozzle and the RHR SI nozzle is based on
11 a conservative assumption of FEA equals 15.35 which is
12 extremely the highest value. When you use a real
13 value those numbers will come down.

14 DR. SHACK: He's asking why you do
15 recycling there.

16 DR. WALLIS: Charging nozzle is used quite
17 a lot, RHR/SI. Does it really cycle that much?

18 DR. CHANG: Charging line based on
19 Westinghouse prime design has about -- sorry.

20 MS. LIU: John Fair will address this
21 question for the members.

22 MR. FAIR: Yes, I'm John Fair, the
23 reviewer in this area. The charging line and safety
24 injection line are subject to fairly significant
25 thermal shocks and that's why you have high usage

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there.

2 DR. WALLIS: Do you use that safety
3 injection line?

4 MR. FAIR: Not a lot but it does get
5 fairly high thermal shocks on it so the design values
6 are fairly high.

7 DR. BONACA: But isn't the charging nozzle
8 the one that already had a crack in the past?

9 MR. SIEBER: Yep.

10 DR. BONACA: I think that's the one,
11 right?

12 MR. MACFARLANE: The Farley line that
13 initiated the bulletin was a safety injection nozzle
14 that is normally isolated and it was caused by a
15 leaking isolation valve.

16 DR. BONACA: So it's not the same nozzle?

17 MR. MACFARLANE: Correct.

18 DR. BONACA: I thought it was the
19 charging. All right. Do you have full separation of
20 safety injection and charging pumps so they are not
21 interchangeable?

22 MR. MACFARLANE: Could you repeat the
23 question again?

24 DR. BONACA: Do you have full separation,
25 distinction between the safety injection pumps and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 charging pumps?

2 MR. MACFARLANE: No, it's a dual use
3 system. The charging pumps are the high-head safety
4 injection pumps but the lines where they actually
5 inject into the RCS for safety injection versus where
6 they would inject during normal charging are
7 different.

8 DR. BONACA: They are different. Okay.

9 DR. WALLIS: Charging is makeup? Is it
10 the same thing?

11 MR. MACFARLANE: Correct. We normally run
12 an in-flow and an out-flow for chemistry control and
13 inventory control.

14 DR. WALLIS: But you do have some
15 regularly but you don't use safety injection
16 hopefully.

17 MR. SIEBER: You use the safety injection
18 pump.

19 DR. WALLIS: What kind of corrective
20 action are they going to take?

21 MS. LIU: The applicant's corrective
22 action include one or more of these four options. The
23 first being a further refinement of the fatigue
24 analysis would --

25 DR. WALLIS: Sharpen the pencils.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. LIU: Correct. Or repair the affected
2 locations or replacement of the affected locations and
3 management of the fatigue effects through the use of
4 an NRC inspection program. These are very typical
5 actions proposed by the other applicants such as Ft.
6 Calhoun and Summer.

7 MR. LEITCH: The thing that surprises me
8 is this charging nozzle apparently appears to be from
9 these calculations way, way unacceptable at 60 years.
10 We say that prior to entering a period of extended
11 operation we'll decide what to do with this. How do
12 we know it's okay today?

13 MR. FAIR: Well, what is unacceptable at
14 60 years is the usage factor with the environmental
15 factor factored into it. We did an evaluation back --
16 I think we presented it back in about 1995 based on a
17 combination of risk evaluation plus an evaluation of
18 sample plants that the risk for 40 years operation
19 wasn't great enough to require anybody to back-fit for
20 40 years operation. For the additional 20 years we
21 thought it was worthwhile to reevaluate these
22 locations to make sure they are good for 60 years.
23 But it was a combination of evaluation and
24 conservatisms in the analysis and a risk assessment of
25 the consequences of fatigue failure at those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 locations.

2 MR. LEITCH: I guess if you did these same
3 calculations for --

4 DR. SHACK: Today.

5 MR. LEITCH: -- today, what kind of a
6 number would you get?

7 MR. FAIR: One of the things that when
8 they take the conservatisms out of the analysis, I
9 think these type of nozzles if they go to the full
10 limit of doing a finite element analysis, they
11 probably will show that they are well below 1. That
12 has been the experience with other utilities of doing
13 the detailed analysis. They just didn't want to do it
14 at this point in time and that's one of their options
15 prior to the period of extended operation.

16 DR. SHACK: And your judgment is that if
17 they did the detailed one that would be okay so you're
18 not going to really get too worried about it?

19 MR. FAIR: Yeah, I think each time we find
20 out that for these particular nozzles they do them
21 using piping analysis rules which use very
22 conservative stress intensification factors. When
23 they go to a full-blown finite element analysis, it
24 takes a lot of conservatism out of those stresses at
25 those locations. If you look at the way the fatigue

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 curve goes, if you reduce the stresses by a factor of
2 2, you reduce the fatigue usage by much, much greater
3 than that.

4 MR. LEITCH: I'm just surprised. This
5 particular issue here is not my field but, I mean, I'm
6 scanning these numbers here and expecting to see
7 something considerably less than 1.

8 MR. FAIR: Yes.

9 MR. LEITCH: Instead I see something like
10 12. I mean, hopefully there's a lot of conservatism
11 there.

12 MR. FAIR: That's not unusual. A lot of
13 these high-usage locations have fatigue usage factors
14 close to one for the design basis. When you put an
15 environmental factor on top of that, then you get
16 those really high numbers.

17 DR. BONACA: That raises -- I mean, this
18 is -- I've been thinking about the same issues here
19 and I know some applicants are showing now interest in
20 renewing the license beyond 60 years. I'm asking
21 myself about the issue of fatigue. I mean, these
22 components simply have a life that is limited. One of
23 the options is sharpening the pencil and qualifying
24 the equipment beyond a certain point. How far can you
25 do that? I'm trying to understand this issue of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 margin. How much margin is really there in
2 components?

3 DR. SHACK: Well, after you put in the
4 environmental effect and you do the finite element
5 analysis, you get a number that is probably as far as
6 you can go.

7 MR. MEDOFF: May I make a clarification
8 here, though? For Part 54 and TLAAs it doesn't say
9 that your TLAA has to remain valid but if it doesn't
10 remain valid you have to propose an Aging Management
11 Program. Even if you don't make the -- if your TLAA
12 is no longer valid or remains bounding, you can still
13 manage through an AMP. Even if they don't meet their
14 CUF for, let's say, an 80-year program, they could
15 still propose an AMP to address the --

16 DR. BONACA: I was simply raising a
17 question regarding the margin. We can certainly
18 sharpen the pencil and propose an AMP, etc., but you
19 are effectively aging the equipment at some point
20 whatever margin is in them for whatever aging effects,
21 in this case it's fatigue, it will be certainly
22 reduced. The low point is reduced below the level of
23 confidence or comfort that you should be concerned
24 about.

25 DR. CHANG: If I may, another proof is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 normally you do stress-based fatigue monitoring on the
2 most critical locations. On Farley the location
3 selected for stress-based fatigue monitoring program
4 is the surge line and lower head of the pressurizer so
5 obviously the charging nozzles, SI nozzles, are not
6 the most critical location. Just because they did a
7 conservative one-time calculation to get by for 40
8 years, no. That's why the usage factor is high. In
9 reality the usage factor is not high. Need not to be
10 high.

11 DR. WALLIS: What kind of environmental
12 effects applies to this huge CUF?

13 DR. SHACK: Water.

14 MR. FAIR: Yes, reactor water and oxygen
15 level and the reactor water.

16 DR. WALLIS: It's the oxygen that does it?

17 MR. FAIR: Well, there's the argument
18 about that in the ASME code but according to Dr.
19 Shack's report at this point, it's related to the
20 oxygen level.

21 DR. SHACK: It depends on whether you have
22 carbon steel or stainless steel.

23 DR. WALLIS: This is stainless steel.

24 DR. SHACK: Stainless steel, low oxygen
25 water turns out to be quite damaging. We still don't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 understand exactly why. We keep doing the tests. You
2 keep running them and you keep getting the same
3 answer.

4 DR. CHANG: But as a first step if you
5 calculate a reasonable FEN it's not going to be 15.35.
6 Right away you drop your usage factor way down.

7 DR. WALLIS: I have no idea how much you
8 have to fudge it to bring it down from 15 to 1 but it
9 just sounds like --

10 DR. SHACK: Well, as John says, the stress
11 goes so nonlinerally that I don't know that the 15 --
12 you know, that the FEN probably isn't all that
13 unreasonable but you get so much back from the stress
14 analysis.

15 DR. WALLIS: You know so little about what
16 the oxygen is doing so you have the factor of safety.

17 DR. BONACA: All right.

18 DR. WALLIS: I guess we have to trust Dr.
19 Shack.

20 MR. SIEBER: I do.

21 MR. FAIR: Yes. I'm trusting him so far.

22 MS. LIU: Okay. Moving on to slide No.
23 53, fatigue of reactor coolant pump flywheel. The
24 applicant's fatigue crack growth analysis assume the
25 occurrence of 6,000 reactor coolant pump start/stop

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cycle through the expiration of PEO, six years, with
2 allowable crack growth of .08 inches. Farley's
3 fatigue analysis for ASA classified components assume
4 200 plant start-up and trip cycles through six years
5 of operation.

6 Based on these assumptions it would take
7 over 30 reactor coolant pump start/stop cycles per
8 plant shutdown to exceed the allowable crack growth of
9 .08 inches. This is beyond the normal number of
10 reactor coolant pumps start/stop cycles that would be
11 expected during any plant shutdown. Therefore, the
12 staff concludes that Farley reactor coolant pump
13 flywheels have sufficient margin against fracture for
14 PEO.

15 On to fatigue of SME non-Class 1
16 components. SME Class 2 and 3 and ANC standards
17 require that a stress reduction factor be applied to
18 the allowable thermal bending stress range if the
19 number of full-range cycles exceeds 7,000. Most
20 piping systems within the scope of license renewal are
21 bounded by 7,000 cycles. Sampling was designed for
22 22,000 cycles.

23 DR. WALLIS: What does sampling mean here?

24 MR. SIEBER: Sampling system.

25 DR. WALLIS: What does that mean?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SIEBER: It's the piping system where
2 you get reactor cooling through a bunch of cells that
3 tells you what the chemistry is.

4 DR. WALLIS: So you're saying the sampling
5 system is okay?

6 MR. SIEBER: They take a sample of --

7 DR. WALLIS: I'm trying to get the logic,
8 get the connection between the 7,000 and 22,000.

9 DR. SHACK: Well, they just designed the
10 sampling system to take a lot more --

11 DR. WALLIS: That's just to say the
12 sampling system is okay. How about the other
13 components? Is it only the sampling system that's
14 okay?

15 MS. LIU: John, would you like to
16 elaborate on that?

17 DR. WALLIS: I'm not sure what the logic
18 is. That's all.

19 MR. FAIR: I think he had the answer
20 correctly. The sampling system was designed for a lot
21 more cycles than the 7,000 so it's okay.

22 DR. WALLIS: So it's okay. So this answer
23 only applies to the sampling system.

24 DR. SHACK: No, the other systems are
25 bounded by the 7,000 cycles which is sort of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 standard criteria for the 3011.

2 DR. WALLIS: How many cycles are you going
3 to get in this how many years? How many cycles is it
4 going to be connected to?

5 MR. FAIR: Let's take -- for these non-
6 Class 1 systems the criteria is looking at the full
7 bending of the piping system like the start-up and
8 shutdown. For most systems they don't cycle them that
9 often so 7,000 is a very bounding number.

10 DR. WALLIS: How long will they cycle them
11 during the period of license renewal? What is the
12 total of cycles we're talking about? Is it 2,000?

13 MR. FAIR: Oh, it's probably on most
14 systems on the order of hundreds or less. I'll defer
15 to --

16 DR. WALLIS: All are different. That's
17 all I need to know. Some sort of comparison.

18 MS. LIU: Thank you, John. Finally, on
19 the number of thermal cycles for emergency diesel
20 generator air start system that may see 7,000 during
21 the operation. However, the applicant indicated that
22 the equivalent number of full temperature cycles will
23 be less than 7,000.

24 DR. WALLIS: Is that because they are
25 required to keep testing it and so on?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. FAIR: Well, on this particular one
2 the number of times this thing as cycled is going to
3 be more than 7,000 but the applicant actually
4 monitored the temperature swings during the cycling
5 for this particular line and found that they were much
6 less than the design for full charging so that when
7 they used the code criteria for calculating the
8 equivalent number of full-range cycles it comes out
9 less than 7,000 so it's okay.

10 MR. SIEBER: What part of the air-start
11 system is the critical part from a fatigue standpoint?

12 MR. FAIR: I believe it was straight
13 downstream of the compressor. Maybe you could help.

14 MR. SIEBER: You mean the piping system?

15 MR. MACFARLANE: The discharge line out of
16 a compressor which gets really hot during a full
17 charge of the cumulator tank.

18 MR. SIEBER: Okay.

19 MR. MACFARLANE: And then typically the
20 reason we get these partial cycles is we do -- you
21 know, you get some leakage out of these things and
22 they'll do small makeups into this cumulator so the
23 compressor doesn't run very long. It's a very short
24 cycle and you don't get the heat that you do with a
25 full charge and that's when you get to this equivalent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cycle determination. Like you said, we did do testing
2 on it to actually quantify what that was.

3 MR. SIEBER: Thank you.

4 MS. LIU: Moving on to containment tendon
5 pre-stress. This was related to an REI that the staff
6 requested the applicant to provide, minimum required
7 pre-stress enforced for tendon. The applicant's
8 trending analysis provided actual force for tendon and
9 a trend line. The values are based on interpretation
10 from the trend line curve.

11 As you can see from this table, the trend
12 line values are provided for four years and six years
13 and both of those values are above the minimum
14 required value.

15 DR. WALLIS: How accurately do you know
16 these tension?

17 MS. LIU: I would like to ask Hans Ashar
18 to elaborate on that, please.

19 MR. ASHAR: I didn't hear the question.

20 DR. WALLIS: Presumably there are many
21 tendons.

22 MR. ASHAR: Yes, there are.

23 DR. WALLIS: And there's a variation in
24 this tension. They don't all have the same tension.
25 I am surprised to see numbers here, five significant

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 figures.

2 MR. ASHAR: Yes. Well, it is calculated
3 that way. I'll tell you what happens is at each
4 tendon inspection there are seven or eight tendons
5 inspected for liftoff testing. That means they
6 measured the stressing points at those times. They
7 are done every five-year interval so they get a number
8 of readings which are shown in the ASE if you look at
9 the Safety Relation Report on page number --

10 DR. WALLIS: The average is okay because
11 you are only interested in the total --

12 MR. ASHAR: No. It is not averaging
13 really. What is being done here is they are measuring
14 stress points at various times. What they did was
15 they did the regression analysis showing the trend
16 line as to what can happen in the future through
17 regression analysis.

18 DR. WALLIS: My question is the minimum
19 required for a tendon and you've got some sort of
20 average tension on the tendon or stress in the tendon.
21 I presume there is a variation from tendon to tendon
22 so some tendons come below the minimum?

23 MR. ASHAR: Oh, absolutely. That's what
24 I'm trying to -- if you have a Safety Relation Report
25 with you, I can point out to you what is exactly done

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there.

2 DR. WALLIS: Section of the variation and
3 the stress between tendons from tendon to tendon. We
4 don't need great complexity here.

5 MR. ASHAR: I will show you the readings.
6 On Safety Relation Report whole charge is given for
7 the readings for which this trend line has been --
8 these are the readings from the trend line, not from
9 individual tendons.

10 DR. WALLIS: Suppose you have a trend line
11 and you're extrapolating to 1198 on five at 60 years.
12 Is that the average stress in the tendon? Are some of
13 them below 1,000 or something? I don't understand how
14 much spread there is from tendon to tendon and whether
15 it matters or not.

16 MR. ASHAR: That's what I'm trying to show
17 you. If you have the ASE I can show you very well
18 what the schedule is. These are the schedules shown
19 on the chart which is in the Safety Relation Report.

20 DR. WALLIS: I don't need that. I just
21 need to know if your criterion is just an average
22 tension or if you're taking account of the various --

23 MR. ASHAR: Oh, yes. You're quite right.
24 I think what happens here is the minimum required
25 stress is based on the required internal pressure.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: Does that have to be in all
2 tendons or is it the average minimum?

3 MR. ASHAR: It has to be the average
4 minimum.

5 DR. WALLIS: Average?

6 MR. ASHAR: That's correct.

7 DR. WALLIS: That's the question I started
8 with.

9 MR. ASHAR: The reason is because it's not
10 based on --

11 DR. WALLIS: Obviously there's a scatter
12 here.

13 MR. ASHAR: Yes. Right.

14 DR. WALLIS: That's a pretty ambitious
15 trend line for that data.

16 MR. ASHAR: Yes.

17 DR. SHACK: We won't calculate R-squared.

18 DR. WALLIS: Oh, dear. This must be a
19 materials problem.

20 DR. SHACK: I put it on a log-log plot and
21 it looks better.

22 DR. WALLIS: Of course, you've got the
23 black numbers so I can't see them on a blue
24 background. What is your criterion for success?
25 Everything above the red line. Is that it?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ASHAR: That's correct.

2 DR. WALLIS: So that looks a little more
3 hopeful. Okay. But there's obviously no trend
4 whatsoever in the data after the first one.

5 MR. ASHAR: Well, that's the reason you
6 need the regression analysis.

7 DR. WALLIS: Even so. Well, okay.

8 MS. LIU: Thank you, Hans. Going back
9 to --

10 DR. WALLIS: Is this standard procedure?
11 Is this just regulatory space you're talking about?
12 This is something that is standard throughout industry
13 when they deal with this kind of stuff?

14 MS. LIU: Yes.

15 MR. ASHAR: Do you want me to respond to
16 your question, sir?

17 DR. KUO: Go ahead.

18 DR. WALLIS: Is this what they do with
19 bridges and things like that or buildings?

20 MR. ASHAR: No. I think in bridges
21 because there are separate girders there, what they
22 are doing normally the AASHTO requirement to measure
23 the stressing and 10-year interval or something. Just
24 look at that part of the tendons. Here we have a
25 multiple number of tendons, 200 tendons in vertical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 direction.

2 DR. WALLIS: You take a sample?

3 MR. ASHAR: Yeah, we take a sample, sir.

4 Correct.

5 DR. WALLIS: Well, okay. Maybe if I were
6 curious I would have to look at all the details and I
7 don't think I've got time.

8 MS. LIU: Going back to slide No. 55, this
9 is on Section 4.4, environmental qualification of
10 electrical equipment. The EQ programs consist of the
11 GALL program and the effects of aging on the intended
12 functions will be adequately managed for the period of
13 extended operation from the applicant's continued
14 implementation of the EQ program.

15 Again, the staff concluded that the
16 applicant's EQ program is adequate to manage
17 electrical equipment.

18 Section 4.5, this is where we have other
19 plant specific TLAAs that includes ultimate heat sink
20 silting, leak-before-break analysis, and RHR relief
21 valve capacity verification --

22 DR. WALLIS: I'm curious about silting.
23 The bottom of the pump silts up but does the top level
24 stay constant?

25 MS. LIU: SNC, would you like to address

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that?

2 MR. MACFARLANE: Essentially it does.

3 DR. WALLIS: Is there water coming in to
4 keep the level up always?

5 MR. MACFARLANE: Maybe I misunderstood
6 your question. The confines of the pond stays
7 essentially constant. It is an earthen structure.

8 DR. WALLIS: Water comes from a river or
9 something --

10 MR. MACFARLANE: The water level --

11 DR. WALLIS: -- until it dries up.

12 MR. MACFARLANE: Oh, that's true. We keep
13 a makeup to the pool. We do have tech spec limits on
14 what the pond level is and we maintain it actually a
15 given level. When they do this test that's one of the
16 things they do is they regulate that pond level to get
17 it up to a standard point so that when they do the
18 test it's consistent from test to test and then they
19 measure the silting looking at poind depths. A
20 sounding survey is essentially what they're doing.

21 DR. SHACK: Have you had to dredge this
22 thing before?

23 MR. MACFARLANE: No. Actually, our
24 testing results show that we do not have a significant
25 silting problem. It just happens we have a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 calculation that went out and used a 40-year number to
2 look at whether or not it would be a problem and that
3 made it fall into a TLAA space.

4 DR. WALLIS: A big silting is when you get
5 a flood or something presumably and there are
6 particulates in the water.

7 MR. MACFARLANE: In the case of the pond
8 we get outflow of the pond in that situation and the
9 pond would actually fill up potentially and we would
10 have it going out of the spillway the other way.

11 MS. LIU: Slide No. 57, ultimate heat sink
12 silting. 1325 acre-feet for service water pond is
13 used as the ultimate heat sink in the FSAR. The
14 average measured pond volume is 1418.5 acre-feet.
15 This is taken from 12 sets of data over a 22-year
16 period. That data was taken from 1981 to 2003.

17 With the 2003 data the increase with time
18 is .054 acre-feet per year with a predicted 60-year
19 end-of-life ultimate heat sink volume of 1421 acre-
20 feet. Again, this is above the 1325 acre-feet used in
21 the FSAR.

22 DR. WALLIS: This looks like the easiest
23 technical analysis of all.

24 MS. LIU: Yes.

25 DR. WALLIS: Understandable at a pretty

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 early stage in one's mathematical career.

2 MS. LIU: The staff performed an
3 independent regression analysis of the data furnished
4 by the applicant and found SSE statements concerning
5 the regression analysis to be correct that the
6 ultimate heat-sink pond volume during the period of
7 extended operation will remain above 1325 acre-feet
8 used in the UHS analysis.

9 I want to point out that the minimum
10 recorded ultimate heat-sink pond volume is 1403 acre-
11 feet. This was based on a 1984 surveillance data.
12 The staff agrees with the applicant's conclusion that
13 existing required pond volume remains conservative for
14 the renewal term and assures adequate ultimate heat
15 sink volume to safely shutdown and maintain long-term
16 cooling. Next one is on --

17 DR. WALLIS: This isn't a pond that
18 freezes, is it?

19 MS. LIU: Probably not. It's down south
20 and pretty warm over there.

21 Moving on to leak-before-break analysis.
22 The applicant's leak-before-break analysis has been
23 redemonstrated and continues to be valid during the
24 period of extended operation. The staff determined
25 that the applicant's reanalysis appropriately

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 evaluated impacts of aging degradation on the
2 perimeters and acceptance criteria for the analysis
3 and demonstrated that the analysis was adequately
4 projected through the expiration of the period of
5 extended operation.

6 Finally, on RHR relief valve capacity
7 verification calculations. This is addressed in
8 commitment No. 15 in Appendix A to the SER. It states
9 that SNC will update the RHR relief valve flow
10 capacity analysis that utilizes P-T curves as an input
11 to include the calculated 54 effective full power
12 limit curves prior to the period of extended
13 operation.

14 DR. SHACK: Just before -- I keep coming
15 back to my leak-before-break question. Every license
16 renewal for a PWR is going to come up. We go through
17 this analysis but you are really not quite consistent
18 with the staff branch position on leak-before-break
19 because you have now got an active degradation
20 mechanism postulated in here. I suppose we could give
21 them credit for one mitigating action because they are
22 adding zinc but you're going to have to come up
23 with --

24 DR. WALLIS: -- is that what it does?

25 DR. SHACK: -- a position on leak-before-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 break. Well, it prevents cracking. At least that's
2 part of the theory.

3 MR. MEDOFF: What's your question?

4 DR. SHACK: Just how do you credit them
5 for leak-before-break when they don't meet the branch
6 position on what your need for leak-before-break.

7 MR. MEDOFF: I'm not the expert in this.
8 My understanding is that the materials in Chemical
9 Engineering Branch of NRR is looking into the impact
10 of stress corrosion cracking on the assumptions made
11 for leak-before-break analysis and how it's going to
12 impact previous approvals granted for pressurized
13 water reactors in the United States. My understanding
14 is Matt Mitchell is the senior engineer that is
15 responsible for that review and I can get more
16 information on that if you need it.

17 DR. SHACK: I'm actually comfortable with
18 the analysis. I think the cracking is not going to be
19 that extensive. It's not going to grow that fast.
20 Boric acid is a great leak detection system if nothing
21 else.

22 MR. MEDOFF: My understanding is that is
23 definitely being looked into right now and being
24 discussed with the industry.

25 MS. LIU: And, finally, in summary we are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 seeing the conclusion that we mentioned earlier. The
2 staff found that Farley license renewal application
3 has met the requirements of 10 C.F.R. Part 54 in terms
4 of scoping and screening, AMPs and AMRs, and TLAAs.

5 DR. WALLIS: Did you put up your 60 slides
6 with no typos? That's a pretty good job.

7 MS. LIU: Thank you, Dr. Wallis. That
8 concludes staff's presentation on the Farley draft
9 SER.

10 DR. BONACA: Thank you. I would like to
11 go around the table and see if there are any comments.
12 Clearly this is the draft SER. I don't see many
13 changes coming because they are open items and I
14 thought that both the application and the SERs were
15 high quality. I would like to go around the table
16 maybe and start with you, Jack.

17 MR. SIEBER: I agree with your
18 conclusions. This is the best one I've seen so far.

19 DR. SHACK: Yeah, I'll just put in a
20 pitch. Whether you had to twist their arm or
21 something, they did a very nice job on the fatigue
22 program. I thought that was very nice, the fatigue
23 monitoring program. And the discussion in the SER of
24 the fatigue monitoring and the leak-before-break and
25 the various reasons I thought was very good. As I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 mentioned before, I thought the whole organization of
2 the SER was a very good one.

3 DR. BONACA: Graham.

4 MR. LEITCH: I have no further comments.
5 I had a number of questions and I was satisfied with
6 the answers. I think the application was easy to
7 follow and understandable. I also liked the audit and
8 review report. I thought it was very well done.

9 DR. BONACA: Rich.

10 DR. DENNING: Best one I've seen so far.

11 DR. WALLIS: Does it meet your quality
12 standards?

13 DR. BONACA: Graham.

14 DR. WALLIS: Well, I really liked the on-
15 site audits record of that. That really helps me a
16 lot. That really adds a lot to just checking off
17 everything as according to GALL, but when you actually
18 go there and talk to the people and dig in, I really
19 appreciate that.

20 DR. BONACA: Vic.

21 DR. RANSOM: The only questions I had were
22 answered during the presentation. It appeared good to
23 me.

24 DR. BONACA: I agree with the fact that I
25 mentioned before, the Farley application was a quality

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 work and so was the SER. The presentation was very
2 effective. I think, you know, looking at the plant
3 itself there are a lot of initiatives there to
4 maintain it in good condition from the placement of
5 the heads, although there are no indication yet to the
6 other initiatives they have to maintain it.

7 Statements of the inspector that the plant
8 looks better today than it looked eight to 10 years
9 ago is also significant. I'm pretty encouraged by
10 this application. I thank both of you and you for the
11 If there are no further comments --

12 DR. SHACK: Oh, could I ask what the CDF
13 is?

14 DR. DENNING: Today you mean?

15 MR. SIEBER: It's a three-loop
16 Westinghouse plant.

17 DR. SHACK: Nobody knows?

18 MS. LIU: We can get back to you on that
19 if you would like.

20 DR. SHACK: I would be interested. Add
21 that to the list of things that really aren't part of
22 the license renewal but we always like to know.

23 DR. WALLIS: This is a subcommittee so
24 when you finish give us the CDF.

25 MS. LIU: Okay. Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. BONACA: Okay. Did you get the
2 answer? No. Not yet.

3 MS. LIU: He's going to get back to us.

4 DR. WALLIS: You don't know what your CDF
5 is? It must be a very important thing.

6 DR. BONACA: With that commitment for some
7 information there, I think I will adjourn this
8 subcommittee meeting. Thank you very much.

9 (Whereupon, at 5:30 p.m. the meeting was
10 adjourned.)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1
2
3
4