

Official Transcript of Proceedings

**NUCLEAR REGULATORY
COMMISSION**

Title: Advisory Committee on Reactor Safeguards
 Regulatory Policies and Practices
 Subcommittee

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Tuesday, November 16, 2004

Work Order No.: NRC-110

Pages 1-163

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1 UNITED STATES OF AMERICA

2 NUCLEAR REGULATORY COMMISSION

3 + + + + +

4 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS (ACRS)

5 SUBCOMMITTEE ON REGULATORY POLICIES AND PRACTICES

6 MEETING

7 + + + + +

8 TUESDAY,

9 November 16, 2004

10 + + + + +

11 The meeting was convened in Room T-2B1 of
12 Two White Flint North, 11545 Rockville Pike,
13 Rockville, Maryland, at 8:00 a.m., Dr. George
14 Apostolakis, Chairman of the subcommittee, presiding.

15 MEMBERS PRESENT:

16 GEORGE E. APOSTOLAKIS

17 Acting Chairman

18 MARIO V. BONACA Member

19 RICHARD SACRS Member

20 GRAHAM B. WALLIS Member

21 F. PETER FORD Member

22 THOMAS S. KRESS Member

23 GRAHAM M. LEITCH Member

24 VICTOR H. RANSOM Member

25 WILLIAM J. SHACK Member

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 JOHN D. SIEBER Member

2

3 ACRS STAFF PRESENT:

4

5 Michael R. Snodderly

6 Designated Federal Official

7 Allen Hiser

8 RES/MEB

9 Rob Tregoning,

10 RES/DET/MEB

11 Lee Abramson

12 RES

13 Arthur Salomon

14 RES/DRAA/PRAB

15 David Lew

16 RES/ PRAB

17 Also Present:

18 John Butler

19 NEI

20 Stanley Levinson

21 AREVA

22 Ray Schneider

23 WEC

24

25

1
2
3
4
5
6
7
8
9
10
11

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A-G-E-N-D-A

Discussion of LOCA Frequencies 5

R. Tregoning

L. Abramson

General Discussion, including material to be
present to the Full Committee 149

P-R-O-C-E-E-D-I-N-G-S

8:02 a.m.

CHAIRMAN APOSTOLAKIS: This is a meeting of the Advisory Committee on Reactor Safeguards Subcommittee on Regulatory Policies and Practices. I am George Apostolakis, acting Chairman of the Subcommittee.

Members in attendance Tom Kress, Bill Shack, Graham Wallis and Rich Denning.

The purpose of this meeting is to review the staff's last proposed NUREGs document documenting the expert opinion elicitation of large break loss of coolant accident frequencies. The Subcommittee will gather information, analyze relevant issues and facts and formulate proposed positions and actions as appropriate for deliberation by the full committee.

Mike Snodderly is the designated federal official for this meeting.

The rules for participation in today's meeting have been announced as part of the notice of this meeting previously published in the *Federal Register* on November 2, 2004.

A transcript of the meeting is being kept and will be made available as stated in the *Federal Register* notice.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 It was requested the speakers first
2 identify themselves and speak with sufficient clarity
3 and volume so that they can be readily heard.

4 We have received no written comments or
5 requests for time to make oral statements from members
6 of the public regarding today's meeting.

7 As I just said, the purpose of the meeting
8 is to review the staff's draft proposed NUREG report
9 but to mention the expert opinion elicitation of large
10 break loss of coolant accident frequencies. This draft
11 NUREG report is to provide the technical basis for
12 determining an appropriate break size.

13 The Committee at its December, 2004
14 meeting is scheduled to review and comment upon this
15 draft proposed report. The Subcommittee is prepared
16 to make a recommendation to the full Committee on
17 whether or not the draft proposed NUREG report should
18 be issued for public comment.

19 The recommendation will also consider how
20 the draft proposed NUREG report will be supportive of
21 a proposal with the risk-informed requirements
22 addressing large break LOCAs.

23 We will now proceed with the meeting, and
24 I call upon Mr. Rob Tregoning of the Office of Nuclear
25 Regulatory Research to begin.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TREGONING: All right. Thank you, Mr.
2 Chairman.

3 We'd start out with the mea culpa. If
4 you'll look at your handouts, I think they say we have
5 a number of slides in there that are hidden that we've
6 just provided for your information, but I think said
7 if you give a slide number, it's slide X of 37, we'll
8 there's only 35 slides. So there's not an error in
9 your packet or an error in the slides. So, I apologize
10 for any confusion. But we've corrected that error as
11 we've made things in the elicitation in the
12 presentation itself, so this reflects the most
13 accurate information that we can present.

14 As the Chairman mentioned, we are here to
15 discuss the expert elicitation that was conducted and
16 develop passive system LOCA frequencies using the
17 risk-informed revision of 10 CFR 10.56. I'm Rob
18 Tregoning and copresenter is Lee Abramson, formerly of
19 the Office of Research.

20 CHAIRMAN APOSTOLAKIS: Currently where?

21 MR. ABRAMSON: I guess I'm still currently
22 -- I'm a consultant.

23 CHAIRMAN APOSTOLAKIS: Are you retired or
24 something?

25 MR. TREGONING: He's part-time.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: He's paid, right.

2 MR. ABRAMSON: Not much, but I'm paid.

3 MR. TREGONING: There's objective for the
4 presentation today. One, we're providing in the
5 presentation just a very high level outline of the
6 LOCA elicitation that's chronicled in the draft NUREG
7 and used as part of the technical basis supporting the
8 proposed 5046 rule revision.

9 The outline is going to be relative high
10 level, because most of this information has been
11 presented to the Subcommittee and main Committee in
12 prior sessions. So most of the detailed information
13 that we'll talk about in this presentation is going to
14 be a discussion of the research that we conducted,
15 since really the last in depth previous ACRS
16 discussion, which was in reality March, but then we
17 were also at the main Committee in July. However,
18 this additional research is very important to
19 understand because it documents additional sensitivity
20 analysis that we've conducted and also discusses the
21 internal and external review.

22 Obviously, while the outline of the rest
23 of the elicitation is high level, we're certainly
24 willing and expecting to deal with questions at a very
25 refined level as necessary. And I can always pull up

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 old slides if we need to as well.

2 Just wanted to briefly review for
3 everyone, get everyone up to speed. We've been in
4 front of the ACRS numerous times to talk about the
5 elicitation. Most recently was in July of '04 when we
6 presented it in front of the main Committee on the
7 initial results and some of the initial sensitivity
8 analysis, and the use of the results in making a
9 selection for the transition break size. Prior to that
10 in March and April we were in front of this
11 Subcommittee and the main Committee to talk about the
12 results. And prior to that dating back all the way
13 back to March of 2001 was, I think, the first time we
14 came in front of the ACRS, which essentially laid out
15 some of the technical issues and the reasons why we
16 thought at the time we needed to pursue expert
17 elicitation to develop these frequencies.

18 So since the July meeting we've had quite
19 a number of milestones that, again, we're going to be
20 talking about here in great detail.

21 In the July time frame when we came in
22 front of ACRS, we had just completed the very first
23 preliminary draft of the NUREG and we had supplied
24 that NUREG to all the external review -- or I'm sorry.
25 To all the panelists that were on the expert panel for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the elicitation.

2 In July we had a video teleconference with
3 those panelists and we got feedback with them, which
4 we incorporated and used to make revisions. So we had
5 completed this initial review by the elicitation
6 panelists. That was completed around August 30th.

7 In the beginning of August we also
8 initiated an external review. And the external
9 review, as we're talk of later, focused on the
10 analysis of the elicitation responses. And that was
11 initiated in early August. We completed, for all
12 intents and purposes, at the end of September.

13 And then the latest milestone is a week or
14 so ago, November 5th, we submitted the latest version
15 of the draft NUREG for ACRS review. And this is the
16 vision that we'd like at main Committee to get a
17 recommendation whether the ACRS believes that this is
18 suitable for going out for the public comment period,
19 as well as supporting the 5046 rule revision.

20 So I wanted to start with an executive
21 summary of the process at large. Again, we utilized
22 the formal elicitation process to estimate generic BWR
23 and PWR passive system LOCA frequencies primarily
24 associated with material degradation.

25 As part of this effort we developed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 quantitative estimates for piping and nonpiping base
2 cases and we spent a lot of time in the past
3 discussing what those base cases were and how they
4 were used. And we used those for anchoring, for
5 quantitative anchoring of the elicitation responses.

6 The panelists when they provided this
7 information, they provided quantitative estimates.
8 But as important or even importantly they supported
9 their quantitative estimates by qualitative rationale
10 for the various underlying technical issues that we
11 developed as a group. And they've provided us these
12 estimates in individual elicitations.

13 In terms of the results or agreement among
14 the panelists, we have generally good agreement about
15 the important qualitative LOCA contributing factors.
16 However, the difficulty that all the panelists face
17 was actually trying to express quantitatively the
18 impact of these various qualitative issues. And when
19 you look at the quantitative estimates, that's where
20 you can see relative large individual uncertainty.
21 And then also panel variability. So, again, good
22 agreement qualitatively what the issues are. Much more
23 difficult to quantify those estimates. And that's one
24 of the reasons we selected on an elicitation in the
25 beginning as an approach we were going to use to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 tackle this problem.

2 The quantitative results that we're using
3 we've determined by aggregating the individual
4 panelist's estimates. The method we've used, and
5 we're going to go into this in great detail
6 subsequently, we've essentially a geometric mean to
7 aggregate the individual results. We believe this
8 approach is consistent with the elicitation
9 philosophy. And one of the things you'll see is that
10 the results are pretty comparable to the NUREG/CR
11 57.50 estimates.

12 NUREG/CR 5750 was completed in 1998. This
13 was the last look or the most recent look at that the
14 agency had given to LOCA initiating event frequencies.
15 It was done in a much different manner. So the fact
16 that they're comparable is somewhat serendipitous, but
17 it still provides an interesting an relevant
18 benchmark.

19 We are going to talk about in terms of
20 sensitivity analyses, there were a number of
21 alternative aggregation schemes that we employed. And
22 one of the things we'll discuss is that the way you
23 aggregate the results definitely can effect the bottom
24 line estimates that you come out with.

25 CHAIRMAN APOSTOLAKIS: Let me ask you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 something about --

2 MR. TREGONING: Sure.

3 CHAIRMAN APOSTOLAKIS: The whole point of
4 this is of course to support the revision of 5046, the
5 board break LOCA frequencies. And 5750 was published
6 in the late '90s or something?

7 MR. TREGONING: In '98.

8 CHAIRMAN APOSTOLAKIS: Yes. Now you come
9 up with a report five years later that doesn't quite
10 agree with 5750 and you have some arguments why the
11 5750 results are not applicable to the rule. Now, I'm
12 sure 5750 also critique earlier studies, the reactor
13 safety study estimates were pretty high and so on.

14 I'm wondering whether five years from now
15 we're going to have another study that would criticize
16 your study, and how would that affect the current
17 effort to risk-informing the large break LOCA
18 frequencies? How much can we rely on all this in this
19 processing, in other words?

20 MR. TREGONING: Yes. Well, when you look
21 at these estimates, whenever you develop these
22 estimates you start with the same knowledge that you
23 have. And I think all of us hope that the state of
24 knowledge that we have is going to continue to evolve
25 in this area. And I think what we've tried to do with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this is you try to build on and make better the
2 estimates that have gone on in the best.

3 I would hope that five to ten years from
4 now somebody will look at this work and look at it
5 very critically and say "We can do better." And if
6 they can do better, we can do better at that time,
7 then there's benefit for reevaluating this at this
8 time, then I would say by all means it's a worthy
9 endeavor at that point.

10 CHAIRMAN APOSTOLAKIS: But the current
11 state of knowledge, though, which I agree with you,
12 you know this is really what we're trying to do with
13 expert opinion elicitations, the current state of
14 knowledge includes what I just said.

15 MR. TREGONING: Yes, of course.

16 CHAIRMAN APOSTOLAKIS: That every four or
17 five years we seem to change the frequencies. So that
18 creates an uncertainty that is above whatever we're
19 doing here.

20 MR. TREGONING: Yes.

21 CHAIRMAN APOSTOLAKIS: And that's not a
22 criticism for you, by the way. This is the way it is.
23 And that uncertainty is not really quantifiable.

24 So it bring us now to the structure of
25 this interpretation of defense-in-depth. So whatever

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 your experts come up with or the aggregation schemes,
2 it appears that we will have to be conservative and
3 put some extra margin, which I think the stuff is
4 already done. I mean, they go to 14 inches for PWR.

5 MR. TREGONING: Yes.

6 CHAIRMAN APOSTOLAKIS: So how much would
7 this uncertainty, how much margin should we put there?
8 Do you have any comments on that? Or how confident
9 are you that these numbers -- because you claim in
10 there -- well, not you personally, but the report
11 states that the experts expect that their estimates
12 will be more or less stable for the next 15 years or
13 so?

14 MR. TREGONING: Yes. Yes.

15 CHAIRMAN APOSTOLAKIS: How can they say
16 that, I mean when we have a record where every five or
17 six years we change the frequencies?

18 MR. TREGONING: Well, point of
19 clarification. This is the third major evaluation, to
20 my knowledge, that we've really had as an industry to
21 evaluate LOCA frequencies. The first time was back in
22 the reactor safety WASH-1400 estimates time frame. And
23 we just had almost very little operating experience at
24 that time. So we really were relying on information
25 that we had from other industries. And there was a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 conscious effort by the people that did the WASH-1400
2 estimates to ensure that these were conservative
3 estimates.

4 So that was a decision, and again at the
5 time frame based on the state of knowledge, that was
6 I would argue a very good decision.

7 5750 compared to WASH-1400 was a radical
8 departure from the methodology to determine LOCA
9 frequencies. And, again, the goal of 5750 was also to
10 be conservative and also look at evaluating the
11 operating experience that we accumulated up to that
12 time, which was certainly much more considerable.

13 Well, this was completed in '97/'98. It's
14 six years later and this in my mind is the first real
15 in depth multi-disciplinary look that we've had at
16 LOCA frequencies to build on the 5750, you know.

17 So in five years unless something dramatic
18 happens, I don't know that the agency is going to want
19 to bite this off again.

20 CHAIRMAN APOSTOLAKIS: I understand that.
21 But it's not only your studies. I was reading -- well,
22 first of all I'm not an expert in this, not in the
23 elicitation in the materials part. So I was reading
24 another paper that recently was published by Fleming
25 and Lydell.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TREGONING: Yes.

2 CHAIRMAN APOSTOLAKIS: And Lydell is one
3 of your experts.

4 MR. TREGONING: Yes.

5 CHAIRMAN APOSTOLAKIS: And I think both of
6 them, certainly Fleming, both of them were involved in
7 an early EPRI study on frequencies. And now they say,
8 again, a few years later we emphatically urge people
9 not to use the EPRI results. So what is that telling
10 me about this field? How do these things change every
11 years and should I take your numbers and add 20 to
12 make sure I'm covered?

13 Lee?

14 MR. ABRAMSON: You raise a very good
15 point, George. What we've tried to do, at least the
16 way I look at with the study and with the experts, is
17 to try to come up with the best estimate of course in
18 including the uncertainties as to what the frequencies
19 of LOCAs are going to be under all various
20 circumstances.

21 And you raise, obviously, a crucial
22 question as far as the application is concerned. How
23 is this going to be used in a regulatory arena. And I
24 think it's really important to try to separate this.

25 In the report itself, and we talk about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 conservativisms and so on and so forth, but I think as
2 far as this NUREG is concerned I think what it should
3 be focused on is what is the best we could come up?
4 What's the best expression of this expert judgment,
5 including their uncertainties?

6 What you're raising is another issue.
7 Considering the regulatory arena and the fact that
8 these things change over time, how should it be
9 applied? I think that's an issue that really goes
10 beyond what the NUREG does and what we've tried to do
11 in the NUREG.

12 CHAIRMAN APOSTOLAKIS: And I agree with
13 that.

14 MR. ABRAMSON: So it is a very, very
15 important issue. But I would say that we really do
16 not address that, certainly --

17 CHAIRMAN APOSTOLAKIS: I know you don't.
18 You're not addressing it.

19 MR. ABRAMSON: And also I think it's
20 important, too, that when we talk about conservatism
21 you can talk about conservative estimates in terms of
22 the technical responses of the experts. It's another
23 issue as to whether you want to do additional margins
24 on conservatives from a regulatory point of view. And
25 I think that should be, if you want to do this and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that's certainly appropriate, you should separate that
2 type of conservatism, added in conservatism from the
3 built-in estimates of the report.

4 CHAIRMAN APOSTOLAKIS: No. This comment is
5 not intended to criticize what you guys have done. And
6 you did, you know, what you were supposed to do. But
7 this Committee, of course, is interested in the
8 ultimate use of all this information in regulatory
9 decision making. That's why I'm raising these issues.

10 Now, another fault is that why didn't you
11 ask the experts to consider these issues? Because
12 they're certainly the experts. And make a judgment
13 about how things can change?

14 In fact, they make a statement that is
15 exactly opposite of what I am doing here. They say
16 that these estimates wouldn't be -- unless the
17 opposite of the report, not the experts -- that these
18 estimates will be fairly stable in the next 15 or
19 whatever years, which is a pretty bold statement in my
20 view given the history of the thing.

21 MR. ABRAMSON: Yes. Well, I would
22 respond, they're experts in their subject matter.
23 They're not necessarily experts in the regulatory
24 arena how these estimates should be used in the
25 regulatory arena.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: Graham?

2 MR. WALLIS: Yes. I'd like to make a
3 comment about uncertainty, and I think that that's
4 really what we're talking about, George.

5 Well, first of all, we have to recognize
6 that an expert elicitation is a necessary evil in the
7 sense that we really need it, but you can't really
8 make data out of nothing. And I'm not implying that
9 that was done here. But I think that the big issue
10 that we're really addressing here is the uncertainty,
11 and it's very typical of expert elicitation that the
12 experts think that they know more than they really
13 know, that they're more definite. And I think that the
14 area that we have to be particularly critical of the
15 report in terms of looking at the report carefully is
16 I think there is a great tendency to narrow those
17 uncertainties. And the uncertainties are truly large.
18 And we have to make sure that the NUREG report really
19 attempts to reflect those uncertainties and doesn't
20 draw them in.

21 I think that there's a tendency in the
22 report to underestimate what the real uncertainty is.
23 And we take a set of experts that in a large sense get
24 prejudiced by talking to each other. And that helps to
25 narrow.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I mean, if we look at the range of
2 uncertainty across those experts, that doesn't really
3 represent the true range of uncertainty. It's great
4 than amongst those experts, because they talk to each
5 other. They narrow -- tend to narrow.

6 CHAIRMAN APOSTOLAKIS: They read 5750,
7 right?

8 MR. WALLIS: They read 5750.

9 CHAIRMAN APOSTOLAKIS: They all read.

10 MR. WALLIS: But, see, what's what you're
11 really talking about. See, I don't know what the 5750
12 uncertainty bands were whether they really encompassed
13 these, but I think that's what we really have to be
14 careful of is that we do not allow the uncertainty
15 bands to be narrowed artificially. And I'm afraid
16 that there's a tendency for that to happen.

17 CHAIRMAN APOSTOLAKIS: But there is also
18 another point. I do appreciate Lee's comment that we
19 should really review the report and all that, but
20 there is a bigger issue here. Because we had the
21 presentation by the staff, the regulatory staff, a few
22 weeks ago. And they told us that they added extra
23 margins, as I'm sure you're fully aware.

24 But if you read the Commission's side,
25 they have a for example that goes on for several

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 paragraphs. And they sort of hint that once you use
2 the mean frequency of the expert distribution as the
3 transition break size. Now if that is the case, and
4 if the Commission insists on that, in my view it puts
5 a tremendous burden on you guys. Then we have to make
6 sure that your uncertainties are not underestimated.
7 Because it's one thing, you know, to develop a
8 distribution. And, look, we all have been involved in
9 these exercises. We know that there are many ways of
10 doing things and so on. But then if the decision
11 making says I'll take your results and I'll add X,
12 then the details of the processing of the expert
13 opinion is maybe not as important anymore. But if the
14 decision making says I'll take your distribution and
15 use your mean value, whoa, it's a whole different ball
16 game now.

17 So that it's risk-informing versus risk-
18 basing in the regulation. If you risk-base them,
19 there's tremendous burden on the PRA to be perfect.
20 IF you risk-inform, then you remove some of that
21 burden because you're also using other conservative
22 philosophies and so on to make to decisions. So I
23 don't know how to do that.

24 If Rich is right or the uncertainties are
25 underestimated, that certainly would effect the mean.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And the choice of the size of the transition break.

2 I just wanted to get your thoughts on
3 this. I mean, again, I am fully aware of the of the
4 fact that this not an issue that can get a definitive
5 answer by anyway.

6 But, you see, I mean when I read the SRM,
7 I think whoa, it says that we should go with the mean
8 of the exports.

9 MR. TREGONING: Well, philosophically I'm
10 in full agreement with everything that you just said.
11 So, believe me, I agree with the fact that if you use
12 the elicitation results it does put more burden on
13 those results.

14 CHAIRMAN APOSTOLAKIS: Absolutely.

15 MR. TREGONING: And we've tried to do as
16 good a job as we can do, certainly. And I would argue
17 that we haven't underestimated uncertainty in this
18 report, at least based on the results that we get.

19 Now, you could argue well did the experts
20 themselves, you know, because you didn't have of a
21 pool or because, you know, they collaborated in some
22 sense. But, you know, I'd argue that the pool of
23 experts in this area is relatively small and they all
24 relatively all have a very similar experience just
25 because the background information. It's communal

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 knowledge. It's shared.

2 MR. SHACK: Well, there's also the
3 question of whether the uncertainties are this way or
4 this way.

5 MR. TREGONING: Well, that's true.

6 CHAIRMAN APOSTOLAKIS: Up or down for the
7 record.

8 MR. TREGONING: That's right. That's
9 right.

10 CHAIRMAN APOSTOLAKIS: There's no video of
11 the meeting.

12 MR. ABRAMSON: Another point to note is
13 that in the report itself we do not recommend an
14 answer.

15 CHAIRMAN APOSTOLAKIS: Right.

16 MR. ABRAMSON: We have what we call a
17 baseline result and we give arguments why this is the
18 baseline. But what we also do is you'll hear, of
19 course, extensive sensitivity analysis considering
20 excursions from this. And we do mention in the report
21 which of our results you should use or which
22 combination, it depends on the particular application
23 that you're going to use it for.

24 So we try to separate out, if you like,
25 the technical problem of how to extract the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 information with the expert elicitation as far as
2 getting the best estimate you can from the application
3 of it. And this is certainly intended as an input to
4 the application process.

5 CHAIRMAN APOSTOLAKIS: Absolutely.

6 MR. WALLIS: Will you explain this bullet
7 that says geometric mean aggregation, results are
8 consist with elicitation philosophy.

9 MR. TREGONING: Yes, we'll get more. And
10 Dr. Apostolakis, if we want to get into this later --
11 again, this wasn't going to be the focus of this
12 presentation, but I could provide a little bit more
13 insight how the NRR folks, how we started with this --

14 CHAIRMAN APOSTOLAKIS: Please do.

15 MR. TREGONING: -- and how we ended up
16 with what we did. I've got a couple of slides that
17 I'll show, and maybe I'll get them after the break.

18 CHAIRMAN APOSTOLAKIS: We can use all the
19 insight we can get

20 MR. KRESS: Before we get off of this
21 particular issue, I want to submit maybe a different
22 view of the subject.

23 I agree with what was said in general
24 about expert elicitation. In this particular instance
25 where it's being used strictly for 5046 only, now I'm

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 restricting my comment to that because this could be
2 used for other things. But for use in 5046, I don't
3 think it gives a damn.

4 CHAIRMAN APOSTOLAKIS: You don't think
5 what? I'm sorry.

6 MR. KRESS: What choice you use for the
7 expert elicitation and what the uncertainty is. I
8 think you could pull this -- out of the air and
9 wouldn't have mattered. Because what you're asking is,
10 we're asking to control the risk to these plants
11 somewhat. And what the subject matter is given a
12 redefined transition break size, what does it do to
13 the risk of the plant. That has nothing to do with
14 this expert elicitation. That's just a choice, a way
15 to pick this number out of the air. And it doesn't
16 matter what the uncertainties are. The real question
17 is what effect does that have on this. Well, that's
18 of course something you're not going to be able to
19 talk about it a priori because it requires too much
20 information for the PRA to deal with as a start.

21 But if you have a process dealing with
22 50.46 which is going to track this risk change in
23 individual plants for individual changes and put a lid
24 on it. Now that's the only thing that gives me
25 confidence.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I could care less what process you use to
2 choose these pipe sizes. Pull it out of the air, use
3 the mean, use the 95 percentile; I don't care. It
4 doesn't matter --

5 MR. SHACK: -- you should get for the
6 LOCA--

7 MR. KRESS: Oh, yes, there's another side
8 to this. The choice also effects one set of
9 sequences, the LOCA sequences and their contributions
10 to risk. It will matter a little there. But the
11 point is --

12 MR. TREGONING: It will matter a lot.

13 MR. KRESS: Oh, I know. The LOCAs don't--

14 MR. SHACK: Well, that's because you
15 assigned a certain frequency.

16 MR. TREGONING: Exactly.

17 MR. FORD: Could I get in here? Yes, I'm
18 just trying to get moving forward. I've got a request
19 as you go forward that where appropriate you could
20 mention the question -- specificity of the material
21 degradation. What's going to refer to is the
22 unexpected event, Davis-Bessie for instance. It
23 should impact on all the other things.

24 This report is primarily looking at the
25 mean and the uncertainties on generic BWR and PWR and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there's generic at all about materials degradation.
2 It's plant specific.

3 So where appropriate, if you could just
4 address that.

5 MR. TREGONING: And I'll go ahead and
6 address it now if that's okay, if there's a question.

7 MR. KRESS: But before we leave I hate to
8 leave this comment unresponded to. This choice of a
9 pipe size is going to have very little effect on the
10 actual LOCA frequencies and the actual LOCA
11 contribution. It's just not going to effect it very
12 much. But that's the comment I wanted to say about
13 the response.

14 MR. TREGONING: In reality, but it could--

15 MR. KRESS: I'm in a reality space.

16 MR. TREGONING: But you predict the effect
17 of it, it could have a dramatic effect.

18 MR. SHACK: You know, how you treat breaks
19 above the transition break size, if you --

20 MR. KRESS: That's a problem. What he's
21 talking about, that's right. And I think the --

22 DR. WALLIS: You can't make a categorical
23 saying without knowing what the plants will do. If
24 it's against the rules, there may be big changes in
25 the plant which change a whole lot of things.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KRESS: That's why I said you can't
2 determine the risk ahead of time.

3 DR. WALLIS: And we haven't talked
4 anything about that.

5 MR. KRESS: Yes, we have.

6 DR. WALLIS: Very, very little.

7 MR. KRESS: Oh, no. There's --

8 DR. WALLIS: Not positively.

9 MR. KRESS: But there's a list of things
10 that can be done and there's a process to control
11 risk.

12 DR. WALLIS: Ah, that's their problem.
13 That's their problem.

14 MR. KRESS: Ah, yes, that's the important
15 thing.

16 CHAIRMAN APOSTOLAKIS: Well, maybe we can
17 move on to page five of this.

18 MR. FORD: Before we move on, could you
19 said, you said you'd better this.

20 MR. TREGONING: Although, again, and I'll
21 talk about this a little more in depth in later as
22 well, but although the goal was to develop generic
23 frequencies, we spent a lot of time talking about
24 broad plant specific differences. So differences in
25 broad ESSC, for instance, difference in mitigation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 techniques that are applied among the plant.

2 MR. FORD: Right.

3 MR. TREGONING: And how those differences
4 could impact the generic values.

5 MR. FORD: Right.

6 MR. TREGONING: So part of the uncertainty
7 bound was to reflect differences that could exist
8 broadly within plants.

9 Now we specifically told the experts not
10 to consider the effect of, at least on degradation
11 issues, of a single plant that might have a number of
12 for whatever reason outlying characteristics. However,
13 if there is such a plant that they know about, by all
14 means make us aware of that during the elicitation so
15 we can take appropriate steps to make sure that we
16 bring them back in with the fold.

17 MR. FORD: So that's specific knowledge
18 from the experts?

19 MR. TREGONING: Yes.

20 MR. FORD: Is part of your 95 percentile?

21 MR. TREGONING: Yes.

22 MR. FORD: Yes.

23 MR. TREGONING: And when we got into --

24 MR. FORD: Is that qualitative or
25 quantitative?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TREGONING: Both.

2 MR. FORD: Okay.

3 MR. TREGONING: There's a whole set of
4 questions on safety culture with respect to passive
5 system LOCA failures.

6 MR. FORD: Yes.

7 MR. TREGONING: The effect of variability
8 in safety culture among individual plants was
9 specifically factors in that case --

10 MR. FORD: Right. Yes, I saw that.

11 MR. TREGONING: --to the bounds with
12 respect to these average -- you know, the sort of
13 average result.

14 And one of the things that came out of
15 this, and I brought this up a couple of weeks ago, is
16 that the safety culture was really deficient, many of
17 the experts said this could dramatically effect your
18 LOCA frequencies not surprisingly, a factor of a 100
19 or maybe even more.

20 CHAIRMAN APOSTOLAKIS: Yes, but it seems
21 to me, though, that the report says that if the safety
22 culture was included, but at some point later it just
23 dismisses it. That the experts felt confident that
24 the safety culture would be good and there is no
25 impact.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TREGONING: Yes, it does. I think
2 dismiss might be too harsh a criticism. We separated
3 it from the very beginning and then we said we want to
4 consider safety culture separately because it's a
5 separate issue. And what the experts said is that
6 sort of the generic or the average safety culture we
7 expect to stay relatively constant.

8 CHAIRMAN APOSTOLAKIS: But you see --

9 MR. TREGONING: However it's the bounds,
10 and we do say in the report that the bounds or the
11 differences at individual plants could be, you know,
12 if proper procedures, protocol, inspections,
13 implementation; if all those things aren't followed,
14 then there is an impact that the experts could
15 quantify.

16 CHAIRMAN APOSTOLAKIS: Right. So the
17 experts acknowledge that there may be an impact?

18 MR. TREGONING: Of course.

19 CHAIRMAN APOSTOLAKIS: But they did not
20 include it in their estimates?

21 MR. TREGONING: They included in it
22 estimates of the effect of safety culture on the
23 bounding estimates, not the mid-value estimates.
24 Because we were looking for general trends. Look out
25 there on the future and see what's going to be the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 effect of steam generator replacement. What are
2 general trend effects? You know, what's going to be
3 the effect of deregulation? What's going to be the
4 effect the fact that the plants are -- you know, that
5 we're getting more experience? What's going to be the
6 effect of, you know, the aging workforce? All of
7 these related issues and how they're going to effect
8 the industry at large. So that's what we were really
9 trying to get at with the safety culture questions, at
10 least in terms of the average responses.

11 But then for the bounds, tells us about
12 the effects that individual plants and some
13 differences from the average, say, industry safety
14 culture, how that could effect LOCA frequency.

15 MR. DENNING: But your bounds don't effect
16 your mean?

17 CHAIRMAN APOSTOLAKIS: Yes, they should.

18 MR. TREGONING: The bounds don't effect
19 the mid-value. They'll certainly effect the mean.

20 CHAIRMAN APOSTOLAKIS: Yes.

21 MR. TREGONING: Yes.

22 MR. DENNING: The mid-value? Yes.

23 MR. TREGONING: That's right. They don't
24 effect the mid-value --

25 MR. DENNING: And it is the mean we were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 looking at, right? Is your geometric--

2 MR. TREGONING: But one of the things we
3 don't do is we don't modify or multiply the results,
4 the degradation based results by any sort of safety
5 culture modifier. There's no combination in that
6 sense.

7 MR. DENNING: I mean, I think it's a big
8 mistake. I mean, I don't know exactly how you do it
9 but if you look at the mean of the plants that are out
10 there and suppose there's a plant that's 100 times
11 worse than any other, the mean impact is tremendous.
12 You know, like you saw in NUREG 1150, you often
13 distributions where the means were greater than the 95
14 percentile.

15 MR. TREGONING: Yes.

16 MR. DENNING: And I think you're
17 constraining this in a way that doesn't reflect the
18 reality of the population of plants that are out there
19 today or will be in the future recognizing that there
20 are always going to be bad plants.

21 MR. TREGONING: Right. But again, we want
22 generic estimates. We don't estimates that are skewed
23 by one particular plant.

24 MR. DENNING: That's the population of
25 what we face, though. That's what effects the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 average. If you have a plant that's 100 times worse
2 than the others, it dominates the risk.

3 MR. TREGONING: At that plant, not any
4 other plant.

5 MR. DENNING: No. The risk. No, I meant
6 the whole risk.

7 MR. TREGONING: Well, okay, it might
8 dominate.

9 MR. DENNING: The public risk. And by
10 decreasing regulatory requirements that don't -- you
11 know allow him to stay out there and dominate the
12 public risk, you know. So I think that there is a
13 real concern here that we have to worry about those
14 outlier plants and how they effect.

15 And I recognize you --

16 MR. TREGONING: Yes.

17 MR. DENNING: It's not easy to address.

18 MR. ABRAMSON: Your point well is taken,
19 but again I'll come back to the point I made before.
20 I think this is not the -- the exercise that we went
21 through with the NUREG was not intended to account, I
22 guess, for the full effect or the full range of plants
23 that are out there. As Rob said, we say over and over
24 again this is a generic estimate. And that was the
25 instructions as to the panelist.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The issue you raised as to how you might
2 have, say, outlier plants and how you would effect
3 this, I would submit that this is something that's
4 somewhat beyond what the purpose of this exercise was
5 and needs to be taken into account when you do the
6 regulatory application.

7 MR. KRESS: That's exactly right. And the
8 way you do that is fix the PRA so it reflect safety
9 culture issues.

10 CHAIRMAN APOSTOLAKIS: The issue of safety
11 culture confuses me a little bit. There is an
12 extensive discussion in Appendix H of the report on
13 safety culture where they say some of the things you
14 just told us, that some experts consider Davis-Bessie
15 and this and that. But then in summary it says the two
16 principle conclusions from the safety culture
17 elicitation questions are, first, safety culture
18 effects on future LOCA frequencies are expected to be
19 minimal. And second, the ability and regulatory
20 safety culture are high correlated.

21 Then in bold face "Because of these
22 findings no modification or adjustment was applied to
23 determine if one containing LOCA frequencies presented
24 subsequent."

25 So after all this discussion, the group

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 decided that safety culture would not effect the
2 quantitative evaluation later. It's in bold face.

3 MR. TREGONING: Yes, again, the average
4 safety culture.

5 CHAIRMAN APOSTOLAKIS: It doesn't say
6 that. It says no quantitative. And the panelists
7 expressed the need for continued vigilance. Well,
8 yes, sure.

9 MR. SHACK: But I think what they're
10 saying, George, is they don't expect changes in safety
11 culture to change the frequency, not that safety
12 culture can't --

13 CHAIRMAN APOSTOLAKIS: But the point is
14 that the numbers at the end do not improve any
15 possible--

16 MR. SHACK: Because they think the safety
17 culture is going -- will remain constant.

18 CHAIRMAN APOSTOLAKIS: Yes, but that's a
19 very important to know that it's one of the
20 limitations or you know the scoping of the study that,
21 yes, we look at safety culture but then we assume that
22 safety culture will remain constant, even though we
23 know that if changes dramatically, it will have a
24 impact --

25 MR. TREGONING: Again, we didn't assume

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that safety culture was going to -- that was based on
2 the expert responses --

3 CHAIRMAN APOSTOLAKIS: Yes. Yes. The
4 experts expect that the safety culture will be
5 constant and good.

6 MR. DENNING: And they're not experts on
7 safety culture.

8 CHAIRMAN APOSTOLAKIS: And they're not
9 experts on safety culture.

10 MR. TREGONING: But they are -- well, they
11 are experts on how safety culture can effect LOCAs.

12 CHAIRMAN APOSTOLAKIS: Absolutely.

13 MR. TREGONING: And that's only what we
14 asked them about. We are only looking at a very small
15 piece of that safety culture.

16 CHAIRMAN APOSTOLAKIS: But I would say,
17 though, that maybe -- you know, in your executive
18 summary of the abstract you should be a little
19 cautious to refer to issues like that. Because I find
20 this, what I just read, to be a little bit
21 inconsistent with -- like in the executive summary,
22 page A-1. The effects of safety culture of LOCA
23 frequencies were also evaluated, period. Now that
24 tells me that the numbers that they're going to give
25 me include the effect of safety culture. But on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Appendix H it says well, we evaluated but we really
2 decided that it's going to remain good and we didn't
3 include it in the numbers.

4 So I think this statement in the executive
5 summary, which a lot of the decision makers are going
6 to be read, should be qualified.

7 MR. ABRAMSON: But if they said on the
8 average the effect of safety culture is a multiplier
9 of one, in effect we have a value. If we multiple the
10 answer by one, and then they don't change.

11 CHAIRMAN APOSTOLAKIS: Well, that's not
12 what they said. Some of them actually used a factor
13 of less than one, right?

14 MR. ABRAMSON: Yes, but --

15 CHAIRMAN APOSTOLAKIS: And others said --
16 I just don't think that this sentence on page A-1 is
17 consistent with what you have in Appendix H.

18 When I went to Appendix H I thought I was
19 going to see more along the lines --

20 MR. TREGONING: I mean, and if you go on
21 the paragraph before H, you'll see a lot about the
22 treatise and the effect of individual plants. And we
23 do talk about that definitely in H. That last
24 sentence is, and why is bolded? Just because --
25 because of the generic consideration by the experts

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that, again, the average safety culture is going to
2 remain relatively constant.

3 CHAIRMAN APOSTOLAKIS: Well, that's --

4 MR. TREGONING: We didn't do any
5 modification.

6 CHAIRMAN APOSTOLAKIS: I understand that.
7 But that's a pretty strong assumption on their part.

8 DR. WALLIS: What about the statement on
9 page A-3 that the effects of safety culture are
10 cyclical? And that's very different from them
11 remaining constant. Where did that come there and how
12 did that get changed? And if it's cyclical, I'd like
13 to know how big are the variations.

14 MR. TREGONING: Well, many experts
15 describe that, you know, safety culture like many
16 things can be a bit of a pendulum. That, you know,
17 something like Davis-Bessie happens and then you have
18 higher safety culture.

19 DR. WALLIS: Right. And then you get
20 sloppy?

21 MR. TREGONING: Yes. And the magnitude of
22 the cyclic range is, you know, reflected in the bounds
23 as well. So all that we've said --

24 CHAIRMAN APOSTOLAKIS: Is it in there
25 somewhere?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TREGONING: Yes, it's certainly part
2 of the bounds as well, as well any plant specific
3 differences.

4 CHAIRMAN APOSTOLAKIS: Anyway my comment--

5 MR. TREGONING: Because we asked them to
6 consider with respect to safety culture well how bad
7 could it be, how good could it be. But, again, the
8 mean trend was essentially a flat line. But, again,
9 we realize that things are not truly constant, they're
10 going to be oscillating about -- at least the experts
11 feel they're going to be oscillating about that line
12 as we move forward.

13 CHAIRMAN APOSTOLAKIS: Anyway, what I'm
14 suggesting is that perhaps you should revisit the
15 executive summary and make sure --

16 MR. TREGONING: I made a note.

17 CHAIRMAN APOSTOLAKIS: -- the appropriate
18 caution is exercised --

19 MR. TREGONING: Yes.

20 CHAIRMAN APOSTOLAKIS: -- when you make
21 statements like that. And make it consistent.

22 Appendix H is very illuminating. I mean,
23 it just says what you guys did and what their
24 conclusions were. I may disagree with it, but that's
25 what the experts did. But I believe the executive

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 summary should reflect those findings because you know
2 that because of Davis-Bessie everybody is interested
3 in that.

4 Anyway, let's go on, unless there is
5 another comment.

6 MR. BONACA: I have one more question. It
7 has to do with the essential objectives and scope.

8 MR. TREGONING: Yes.

9 MR. BONACA: C-1. In that there are a
10 number of discussions about what is not included.

11 MR. TREGONING: Yes.

12 MR. BONACA: And after systems -- and then
13 so on and so forth, there are similar things that are
14 not included.

15 Now later on there are discussions, for
16 example, the seismicity and the role of some kind of
17 consideration. I guess also seismicity consideration
18 have not been included yet?

19 MR. TREGONING: That's correct.

20 MR. BONACA: Okay. Although there is a
21 discussion, there's no point. And, you know, as a
22 known expert, I'm left with the question mark in my
23 mind as I'm reading it of how am I going to include
24 for consideration for what is a known intruder. I
25 mean, I thought that these experts would help me with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this, but I haven't been helped what is here.

2 I hear all this, you know, statements that
3 says only this included and only, you know, initiators
4 could tell events and not potential in certain events,
5 and so on, but it's not included. And so I'm left a
6 little bit helpless in understanding how I go from the
7 elicitation curves to the transition break, and that's
8 really the bottom line. Because I heard some
9 statement that says because of the -- included, we
10 jump -- and I don't know how to make this fit.

11 MR. TREGONING: Right. One of the reasons
12 for the objective in scope statement was because as
13 clearly as we could lay out what was included and what
14 wasn't included. Because again, there's total risk
15 associated with LOCAs. We weren't able to assemble an
16 expert panel, not a single expert panel that would
17 have been expert in all the various LOCA risks that,
18 again, make up the bottom line risk associated with
19 LOCAs. And we tried to be very clear about what we
20 did consider and what wasn't considered especially if
21 we thought it was conceivably important, and the area
22 of seismic breaks was one that we wanted to make sure
23 that we identified.

24 Now NRR, at least as they have taken this
25 information and said, okay, how am I going to use this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to take a break size, they have had to have an
2 understanding of what was included and what wasn't
3 included.

4 MR. BONACA: Well, why didn't they say
5 that? Because I'm wondering how do they get to what
6 you provide --

7 MR. TREGONING: Well, I told George I'm
8 going to bring a couple of slides down after the
9 break. And I'll try to provide some more information
10 on philosophically how the elicitation results were
11 used as a baseline and how they ended up with -- how
12 it has come to the final break size, or at least the
13 proposed break sizes that --

14 MR. BONACA: Because my understanding is
15 that would equal the break. The break is how do you
16 go to the transition break size. And then they did a
17 central issue. You know why not one break size, not
18 another one? I think that the statement that's been
19 made that because -- breaking is included were
20 conservative -- well, I mean I got to understand the
21 dynamics of that, because I don't understand it right
22 now.

23 MR. TREGONING: Yes, it's certainly an
24 area for debate.

25 MR. SHACK: Take your chances and go

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ahead.

2 MR. TREGONING: Okay. Motivation. Again,
3 we've probably covered this already, but there's
4 really two motivations certainly as we've all talked
5 about. The primary motivation was developed part, not
6 all but part of the technical basis for developing I
7 call them alternative design basis break sizes, but we
8 refined and we call them transition design basis break
9 size now for use in the ECCS role.

10 Another secondary but very important
11 motivation was to develop updated LOCA frequency
12 distribution best estimate values that we could use in
13 the plant PRA model as well as provide insights that
14 could be used for risk assessment in terms of where
15 pipes are expected to break, what sort of systems do
16 we think are likely to fail. These are things that
17 could certainly affect the plant risk. And we're
18 hoping that these insights can be used to improve
19 modeling that's used in PRA now to measure and account
20 for the risks associated with LOCAs.

21 So, Dr. Bonaca mentioned the elicitation
22 objective and scope with the section we have in the
23 NUREG I've tried to restate them here as concisely as
24 possible. Again, the primary objective is to develop
25 generic BWR and PWRs piping and nonpiping passive

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 system LOCA frequency distributions as both the
2 function of break size and operating time. Again, we
3 mainly focused on LOCAs which initiate a portion of
4 reactor coolant systems. The LOCAs were primarily
5 related to passive component aging tempered by
6 mitigation measures that plants typically employ.

7 We examined small, medium and large break
8 LOCAs as are historically done in evaluating the plant
9 PRAs, but we also further subdivided the large break
10 LOCA category to consider four different LOCA sizes
11 that are historically just called large break LOCAs.
12 But we wanted to look at pipes breaking over a
13 variety, all the way from 6 inches which is the
14 typical large break LOCA threshold up to a double and
15 guillotine type break of the largest type in the
16 plant. So we go from 6 inches up to roughly 40 inches
17 or so.

18 And we wanted to -- it because we wanted
19 to see how these frequencies would be effected as we
20 go up in break size.

21 Time frames we considered. We developed
22 estimates at three discreet points in time. Twenty-
23 five years and the 25 years represents the sort of
24 average operator -- or average reactor life and that
25 essentially corresponds to the current day fleet

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 average. A 40 year estimate which coincides with the
2 end of the original license in the plants. And then
3 estimates at 60 years which represent the end of life
4 extension period.

5 MR. SIEBER: First license.

6 MR. TREGONING: The end of the original
7 license is 40 years. That's right. Sixty years is
8 the first license.

9 MR. SIEBER: First, right.

10 MR. FORD: Well, I was particularly
11 interested in this particular one. And I looked
12 through the report trying to find the degradation time
13 algorithm that you should have used. I presume you
14 used in order to go through that time sequence.

15 Were there specific degradation algorithm
16 used, because I couldn't find them.

17 MR. TREGONING: By specific degradation
18 algorithms do you mean modeling, for instance, IGSEC
19 and --

20 MR. FORD: Correct. All that stuff.

21 MR. TREGONING: Of course.

22 MR. FORD: Now, was that the original
23 stuff that was extreme uncertainty and the algorithms.

24 MR. TREGONING: Yes. If you look --each
25 of which -- we had 12 panel members, each of which had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 different strategies for dealing with the degradation
2 algorithms that they employed.

3 MR. FORD: Right.

4 MR. TREGONING: Some of them had their own
5 models. Some of them felt that hot models based on
6 transit data and their operating experience, plus
7 information they've seen from other models.

8 We developed the base estimates and we
9 used the Praise Run and also the Rolls Royce Run, yes,
10 we had obviously specific algorithms in there to model
11 subcritical cracking due to --

12 MR. FORD: Okay.

13 CHAIRMAN APOSTOLAKIS: But you are not
14 reporting those?

15 MR. TREGONING: What's that?

16 CHAIRMAN APOSTOLAKIS: You are not
17 including those in the report?

18 MR. TREGONING: Oh, yes, they're in there.
19 There's a whole section to talk about the development
20 of the base cases and there's an appendix that talks
21 about how the base case analyses were done using a
22 Praise code. So, yes, those are definitely documented
23 in the report.

24 CHAIRMAN APOSTOLAKIS: But at each
25 elicitation panel member, maybe you can come to this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 later on, and there is areas of magnitude scatter. And
2 just between one expert and the other expert. And you
3 had a process by which you dealt with that scatter?

4 MR. TREGONING: Yes. I'm sorry.

5 MR. FORD: This happens -- I'm sorry.
6 What happens if one of the outlier experts in terms of
7 this prediction is correct and the others are
8 incorrect and this is a technical --

9 MR. BONACA: The Galileo example, right?

10 MR. FORD: Yes, exactly. Does that come
11 into the thought process --

12 MR. ABRAMSON: There's correctness and
13 correctness is not one of our objectives here in this
14 sense.

15 MR. FORD: Oh.

16 MR. TREGONING: Maybe I should have
17 answered.

18 MR. ABRAMSON: The truth, we don't know
19 what the truth is. And the whole -- as I see it --

20 MR. SHACK: You can't handle the truth.

21 MR. ABRAMSON: Well, only know the truth.

22 The purpose of the exercise was to do, you
23 know, the best expert elicitation that we could under
24 the circumstances, the constraints. And to have the
25 results reflect the results of that expert

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 elicitation.

2 We make no claim in the report I think
3 that this is the truth or this is close to the answer.

4 CHAIRMAN APOSTOLAKIS: So you just go on
5 until --

6 MR. ABRAMSON: You see, so you have to ask
7 the question is what's the -- of what use or what
8 value is an expert elicitation process. And that's
9 another issue. You know, there's whole history of --
10 but we accept this as -- we've started from the fact
11 that expert elicitations are used, and so on and so
12 forth, they feel it will be of value and we're trying
13 to do the best we can under the circumstances.

14 CHAIRMAN APOSTOLAKIS: Let me, on this
15 point, did you have workshop or some sort of meeting
16 where each expert presented his or her arguments and
17 trying to convince the other guys? And did you try to
18 reach consensus at the meeting rather than taking the
19 individual person and taking geometric means and doing
20 sensitivity studies? Why -- I didn't see that work
21 consensus anywhere. And as you know in the seismic
22 study that you're citing, that was a central theme
23 that the reason -- I mean the main argument was that
24 many times the disagreements are due to the fact that
25 the experts have different states of knowledge. And by

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 having these workshops where they exchange information
2 and they argue about these, you are bringing everybody
3 up to the same level and there is no scientific proof
4 of that, but there is a conjuncture that if you do
5 that, then consensus might not be out of reach.

6 MR. TREGONING: Right. You're also
7 potentially producing uncertainty with that process.

8 CHAIRMAN APOSTOLAKIS: Well, you are.

9 MR. TREGONING: We tried to do --
10 unfortunately, you can't have it both ways.

11 We tried to do I'll say a modified process
12 compared to what was done at the seismic study. We
13 did the elicitations individually because we didn't
14 want to suppress uncertainty.

15 CHAIRMAN APOSTOLAKIS: Yes.

16 MR. TREGONING: We wanted the individual
17 estimates. However, there was a strong component of
18 group feedback that occurred at various meetings.

19 The very first meeting we had was an issue
20 development meeting where as a group we brainstormed
21 about the issues that we thought that were important
22 as a group.

23 CHAIRMAN APOSTOLAKIS: And you said
24 earlier that there was a lot of agreement among
25 experts on the qualitative aspects.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TREGONING: Yes, there were.

2 CHAIRMAN APOSTOLAKIS: Is it possible that
3 it's a result of that meeting, in fact they each
4 understood it --

5 MR. TREGONING: No, no. Because again --
6 no, no, no. The brainstorming meeting just said hey
7 what are the different failure scenarios that could
8 occur in piping. So this was essentially a shopping
9 list of things that could happen.

10 CHAIRMAN APOSTOLAKIS: By the way --

11 MR. TREGONING: But the agreement was when
12 they each had to go individually and say from this
13 shopping list I think this is important, that's
14 important, that's important. That's where the
15 qualitative agreement was --

16 CHAIRMAN APOSTOLAKIS: Just as note here,
17 if you are right on a study a few years ago on the
18 seismic issue also and they tried to get the best of
19 the whole world. So they get teams. So within a team
20 there is an exchange of information and trying to
21 reach consensus, but they let the team do it separate.

22 MR. TREGONING: That's right.

23 CHAIRMAN APOSTOLAKIS: So you wouldn't
24 have the biases.

25 MR. TREGONING: That's right. That's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 right. There's a lot of different approaches.

2 And, again, the way he did feedback to
3 deal with outliers is we developed these base case
4 estimates which we had just a very small percentage of
5 a team develop these estimates. Well, they came back
6 and presented all their estimates. And if you look at
7 the base case results, there's a lot of variability.
8 Four people were supposed to be analyzing a very small
9 subset of conditions. So this was a simplified
10 problem. When you look at the result from that, a lot
11 of variability.

12 So we had an entire meeting where we
13 discussed in depth what each of those four models, how
14 they were constructed, what the assumptions were, what
15 the approach was. And we had a lot of discussion
16 among the experts as to what are the reasons for those
17 uncertainties.

18 And then what happened is that this was
19 all part of the elicitation. The experts then went
20 back and they said okay of all these various four
21 approaches, here's the one that I believe is closest
22 to reality based on my experience.

23 So we asked them during their elicitations
24 to weigh in on which approach they thought was more
25 accurate.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And we did all the individual elicitation
2 and we got the results, we had a final wrap up
3 meeting. And what we did at the wrap up meeting is we
4 presented not only the results, and again it was
5 everything was anonymous, you didn't know who was an
6 outlier. But more importantly if people had
7 qualitative responses or rationale that brought up
8 points that no one else had considered, we discussed
9 those specific qualitative points. And we gave the
10 experts the opportunity.

11 Now knowing this -- knowing this would
12 this cause you to go back and revisit your estimate?
13 We gave them another chance to revisit it based on
14 that.

15 So we did apply a feedback loop into the
16 process to make sure that at least qualitatively if
17 someone was thinking outside the box and came up with
18 a scenario or a reason for either high or low failure
19 frequencies, we didn't get into the quantification
20 aspects, but at least qualitatively we presented that
21 argument and discussed it in a group. And we didn't
22 try to reach consensus at that point, but we said if
23 this reason or rationale has been enough to move you
24 individually that you think your estimates are too low
25 or too high, we're going to give you the opportunity

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to go back and modify them accordingly.

2 And there was also when we had, again, the
3 individual elicitation, there was a lot of feedback
4 between the facilitation panel and the experts
5 themselves to try to get at hey what's the basis for
6 these estimates. What are you basing this on? What
7 are your reasons for this, you know. What if I told
8 you something different, would that change your
9 estimates in any way?

10

11 So we didn't want to give them too much of
12 a hint of what other people were saying, but we tried
13 to again provide a very rigorous look at what they
14 were basing these estimates on and make sure it was
15 consistent.

16 MR. FORD: So the information exchange
17 between individual panel member was via the
18 facilitation people? It was not me, Tom Devick or --
19 I mean face-to-face?

20 MR. TREGONING: No, no, no. No, no, no.
21 There were both. Again, we had three meetings that had
22 the entire group.

23 MR. FORD: Okay. Only three?

24 MR. TREGONING: Three meetings. We had the
25 kick off meeting and we had the meeting that evaluated

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the base case estimates. And then we had the wrap up
2 meeting. So we had a three meetings as a group.

3 MR. SIEBER: We also had a
4 videoconference.

5 MR. TREGONING: Well, yes, we had a video
6 teleconference, but that was for reviewing the NUREGs.
7 And this was sort of after the fact. So, yes, we had
8 that fourth meeting.

9 But, no, those three group meetings were
10 where we vetted a lot of the -- again, I'll say a lot
11 of the more interesting individual opinions that may
12 not have been shared by -- or may not have been known
13 or thought about by the majority of the group.

14 But again during the feedback sessions as
15 well we tried to feedback some of this information as
16 well. So there were two slightly different
17 mechanisms.

18 MR. BONACA: Let me make another comment
19 here regarding the bottom bullet. Assume no
20 significant changes were occurring, plans had already
21 been filed.

22 MR. TREGONING: Yes.

23 MR. BONACA: Now here as a Committee we're
24 sitting in front of power-up rates and you recognize
25 in the text that the power-up rates may in fact be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 significant changes from a frequency standpoint, and
2 so here again you know we are left with this question
3 mark in our mind. I mean, one from one end we are
4 going to have a power-up rate. In fact, possibly even
5 higher power-up rate because of the change in 50.46.
6 And yet the transition break that is being -- all the
7 information, is really not reflecting this
8 possibility. You know, it doesn't. And, again, that
9 troubles me.

10 MR. TREGONING: Yes.

11 MR. BONACA: That troubles me. I mean
12 here we're causing a change to the regulation that may
13 cause a power-up rate even higher than today would be
14 possible and yet we have no consideration in the
15 design of the ECCS system of this change we're going
16 to provide.

17 MR. TREGONING: Right. Let me address this
18 one. This statement's in there as a cautionary
19 statement to the regulatory community as much as
20 anything.

21 The big assumption that was made -- look,
22 there was no assumption made that we're going to stop
23 inspecting the plants, okay. If we would have told
24 the experts that we're going to stop doing any
25 inspections of the pipe, their frequencies could be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 dramatically different. The knowledge base is based
2 on not only our modeling considerations but also the
3 operating experience database. If you do anything
4 which undermines your operating experience, certainly
5 these frequencies could be effected. You know, if you
6 do power up-rates --

7 MR. BONACA: I understand where you're
8 going.

9 MR. TREGONING: Yes.

10 MR. BONACA: Put yourself in the shoes of
11 the reviewer or somebody who has to buy this.

12 MR. TREGONING: Right.

13 MR. BONACA: And realize that the
14 frequency there is one that says, you know, I don't
15 think the are done sufficiently to put a warning.
16 Because, I mean, I could have somebody that
17 statistically go to those curves and wants to choose
18 a mean value, you know, elicitation, and that's not so
19 farfetched.

20 CHAIRMAN APOSTOLAKIS: Well, that's what
21 yes I am saying.

22 MR. BONACA: Exactly. And so in all these
23 provisos here are only limited to one summary page and
24 those are the rates. And if there had been like a
25 rationale position -- and I'm not faulting you. I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 know there was a time constraint, etcetera. And
2 already on this issue you may have a condition of such
3 an impact that nobody would make that guess and jump
4 to mean value without -- you know --

5 MR. TREGONING: Look, it's a classic
6 problem. You give somebody a curve, they immediately
7 start using it, you know. So I think your question
8 goes much deeper. How do you ensure that we use these
9 results, and I think that's really what you're getting
10 at.

11 MR. BONACA: Well, and the first issue of
12 the second comment was I would have liked to see some
13 little ladder there or some help as to bridge --

14 MR. TREGONING: I'm sorry, a little what?

15 MR. BONACA: I call it a ladder. Anyway,
16 a little bridge to go from the raw data to the
17 judgment we have to do or use.

18 CHAIRMAN APOSTOLAKIS: Yes. I think this
19 is a comment along the same lines as several comments
20 we've made this morning.

21 MR. BONACA: This is it.

22 CHAIRMAN APOSTOLAKIS: No.

23 MR. BONACA: No, this is feeding on what
24 the problem is.

25 CHAIRMAN APOSTOLAKIS: So the thing is Lee

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Abramson's scenario, he said that you know there are
2 two separate issues. One is the NUREG report and the
3 expert opinion elicitation and then the other issue
4 which the report does not address is the decision
5 making by the NRC staff. But we all know that this
6 report, this project was done to support that other
7 decision making. And maybe the overall tone,
8 especially of the executive summary, should be changed
9 to have in mind the decision maker that will have to
10 make a decision regarding the transition break size.

11 MR. BONACA: That's right.

12 CHAIRMAN APOSTOLAKIS: And offer as much
13 help as you can.

14 I realize that we cannot go back and redo
15 the elicitation. But just don't look at this as a
16 separate piece of work that will be tracked by people
17 who are expert and expert opinion elicitation. But
18 give it that flavor, you know, if I am now the
19 decision making that has to pick the transition size,
20 how would this help me. And elicitation and so --

21 MR. TREGONING: The only danger there is
22 when you talk about this a lot, and Dr. Kress raised
23 this issue quite distinctly. It's an integrated
24 process. It's not just a matter of saying what's your
25 transition break size. It's a matter of understanding

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 how the whole rule is shaped, you know. What are you
2 going to do beyond the break size? If there's no
3 mitigation beyond the transition break size, maybe my
4 transition break size is totally different than if I
5 do have mitigation beyond it.

6 So that's why the executive summary,
7 again--

8 CHAIRMAN APOSTOLAKIS: But, look, wait.
9 I'm not saying that you should naturally address the
10 issue of the size.

11 MR. TREGONING: Yes.

12 CHAIRMAN APOSTOLAKIS: I mean with regard
13 to size or the transition size. What you should -- be
14 fully aware of the fact that you are providing input
15 with a guy who will do that.

16 MR. TREGONING: That's right. That's
17 right.

18 CHAIRMAN APOSTOLAKIS: Okay? Because as
19 I said earlier, there is one point of view that says
20 take the expert curve, take the mean value and that
21 determines the size.

22 Now, if you come in here and you give the
23 executive summary arguments that will make me even
24 support that point of view or say no, I need to do
25 something else, then I would greatly appreciate it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BONACA: And I want to stress this
2 issue here, because here you're talking about
3 operational changes which are never proven, and yet
4 this rule is intended to support operational changes.
5 They will happen as a result of the rule. So that's
6 why there is such a linkage there.

7 MR. TREGONING: But, yes, we talk about
8 operational changes that would effect LOCAs. That's
9 just a subset of all the possible operational changes.

10 MR. BONACA: I understand that.

11 MR. TREGONING: You take out an
12 accumulator, you know, that's not going to effect a
13 LOCA initiating event frequency more than likely,
14 unless it sets up some weird vibration in the plant.

15 MR. BONACA: No. I was talking about
16 operational changes which may include significant
17 power-up rates.

18 MR. TREGONING: Right. Right.

19 MR. KRESS: The thing that worries me is
20 not the choice of the transition break sizes, as I
21 expressed before, this curve can stand by itself.
22 Here's a new frequency versus break size, resulting
23 curve. It's going to be used for other, I guarantee
24 it.

25 One of them could be, for example, risk-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 informed inspection of packing. And there are other
2 examples.

3 It's there that the uncertainty
4 distribution and assessment of the uncertainty bothers
5 me because it ought to be part of the decision making.

6 And so you know, I'm not so concerned
7 about the decision maker will deal with this in the
8 transition break size, I think they've covered that
9 pretty well. The decision makers know how to deal
10 with it. It's the other uses that this might be put to
11 that it seems to me like it needs some sort of -- I
12 don't know, word of caution.

13 MR. SHACK: You know, guys, we'd better
14 get going because page 26 is about where things really
15 get interesting and we got a long way to go.

16 MR. SNODDERLY: We were going to take a
17 break around 9:15 or 9:20. So in the next ten minutes
18 can you get us to slide 17?

19 MR. TREGONING: There's no question.

20 MR. SNODDERLY: You're talking about the
21 results and you're talking about how we got the
22 results. And as you said, we've had a lot of
23 briefings on this. Just in ten minutes just get us
24 to--

25 MR. TREGONING: If there's no questions I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 can go through the whole presentation in ten minutes.

2 MR. SHACK: There will be some questions.

3 MR. SNODDERLY: But I think as a goal we
4 ought to try to get there.

5 MR. TREGONING: I fully support you.

6 CHAIRMAN APOSTOLAKIS: Yes, we don't need
7 this slide, for example. Next.

8 MR. TREGONING: Okay. We've seen that
9 slide a million times. This is a factor that we use--

10 CHAIRMAN APOSTOLAKIS: What happened to 8?

11 MR. TREGONING: Well, you said -- oh, 8 is
12 a hidden slide, so you don't need that one either.

13 CHAIRMAN APOSTOLAKIS: Oh, okay. You
14 decide.

15 MR. TREGONING: Yes. It's your packet. We
16 can talk about it if you like.

17 CHAIRMAN APOSTOLAKIS: No, that's fine.

18 MR. TREGONING: It's just more definition
19 of how --

20 CHAIRMAN APOSTOLAKIS: Go on.

21 MR. TREGONING: So this flow chart just
22 shows you how we broke up or considered the various
23 technical issues or structured the technical issues
24 for dealing with the elicitation. And we split them in
25 passive and active system LOCAs. And the passive

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 system LOCAs were further subdivided by piping,
2 nonpiping contributions. And then the rest of these
3 small blocks get into the individual variables that we
4 identified as a group as being important to the LOCA
5 frequency contribution for both piping and nonpiping
6 issues.

7 The elicitation questions, as we move to--
8 and again, I'm jumping ahead again. We go from slide
9 9 to slide 13. The three slides in your packet talk
10 about the base case analysis and --

11 MR. SHACK: Well, I'd like to come back to
12 the base case.

13 MR. TREGONING: Now or --

14 MR. SHACK: Well, it's as good as time as
15 any.

16 MR. TREGONING: Okay.

17 MR. SHACK: One of my concerns with the
18 base case, or at least what I want to understand, when
19 I look through the base case I find dependencies on
20 diameter that are 1.5 for the people building
21 essentially the Belczey and Schulz kind of stuff like
22 roughly a factor of five for the people doing the
23 probabilistic fracture mechanics. Dick Chapman does
24 probabilistic fracture mechanics, but somehow he ends
25 up with the Belczey-Schulz thing rather than the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Harris one.

2 Your final estimation uses an intermediate
3 dependency on D, which is like a 3.4.

4 MR. TREGONING: Yes.

5 MR. SHACK: You took geometric means of
6 the frequencies, is that the average of the dependency
7 on D went from 1.5 and 5 to 3.4?

8 CHAIRMAN APOSTOLAKIS: Just to understand
9 that. Is that 3.4 divided by the diameter gives you
10 the conditional probability --

11 MR. TREGONING: Conditional probability
12 given --

13 CHAIRMAN APOSTOLAKIS: Okay.

14 MR. SHACK: No, no. That's the D
15 probability. I mean, when I just do the plot versus
16 D in your final draft, I get 3.4

17 MR. TREGONING: No. But a ratio of 3.4
18 from one size to the next.

19 MR. SHACK: Yes, to the next.

20 MR. TREGONING: That's what you mean.

21 The base case results were developed,
22 again these were idealized results that were developed
23 for a specific set of conditions using a couple of
24 different methods. So they ended up with different
25 ratios for those specific base case conditions.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now for the individual elicitations
2 themselves, one of the things we said, we said for
3 each person pick a set of base case values. You can
4 use one of these four or if you choose, you could come
5 up with something of their own. Some people that
6 amalgamated of the four different methods, they came
7 with an amalgamated method that used information from
8 both of them. Some people didn't use the base case
9 estimates at all.

10 So what happened is each individual gave
11 us essentially a ratio between each of those sizes,
12 and sometimes they were constant and sometimes they
13 weren't. And what happens when we amalgamated by
14 taking the geometric mean of all the experts for any
15 given LOCA category, that's how we end up with that
16 final bottom line number. So if the ration was
17 whatever it is, 3.4, that's based on an aggregated or
18 an amalgamated response from all the experts at that
19 point.

20 MR. SHACK: Okay. So it really is the
21 geometric mean of the product and you treated all
22 experts equally?

23 MR. TREGONING: Yes, equally. That's
24 right. That's correct.

25 MR. SHACK: Even if they were wrong?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TREGONING: That's correct. Even if
2 they were wrong. But again, we have no real -- no
3 real way. If we knew who was correct and who wasn't
4 correct, we wouldn't have done this process. We would
5 have taken our model and predicted LOCA frequencies
6 and we would have been done.

7 MR. SHACK: There was one base case that
8 would have been interesting. Why you didn't let
9 Wilkowski do a base case where he took the conditional
10 probabilities from fracture mechanics, because that's
11 the part of fracture mechanics I believe, versus the
12 initiation models which Peter would argue and Praise,
13 you know, highly suspect.

14 MR. TREGONING: Yes.

15 MR. SHACK: And then add in the empirical
16 occurrence of cracks from Galyean and Lydell and you
17 have a base case where -- you know, because Galyean
18 and Lydell have lots of data for their initiation,
19 then they take Belczey-Schulz which comes out of the
20 air and, you know, it's connection to reality is never
21 quite clear and it's probably quite conservative. And
22 so you have a realistic one and a nonrealistic one.
23 And then in your Praise codes you have a nonrealistic
24 one probably with a realistic estimate of the relative
25 probability. Why not combine the two?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TREGONING: We could have. For the
2 base case analysis, again, we were trying to be
3 simplistic in the sense that we wanted to give people
4 a sense or --

5 MR. SHACK: The numbers really come out of
6 the base case.

7 MR. TREGONING: No, no, they don't. The
8 numbers come out of the elicitation. The base cases
9 are just a starting point.

10 You see, what you just described, Bill, we
11 had experts on the committee that did exactly that.
12 And if you would have been expert, because I see you
13 working through your mind, that would have been the
14 approach that you would have decided to take. And we
15 fostered that approach in the elicitation.

16 I had several experts that did exactly
17 what you just described.

18 MR. SHACK: The numbers didn't come out of
19 the base cases. The absolute numbers had to come out
20 of the base cases. Everything else is a relative
21 waiting.

22 MR. TREGONING: Yes. But, again, (a) there
23 was no single set of base case numbers that were
24 applied. Again, we had multiple different base cases.
25 We had four different base cases for piping. We had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 all these different precursor events for nonpiping.
2 For any given question, let's say they were evaluating
3 IGEC and the feedwater in the reactor coolant, in the
4 main resert piping to depict one set of base cases.
5 If they were evaluating FAC in the feedwater line,
6 they could have picked another set of base cases.
7 They could have picked results from, you know, one
8 expert that calculated IGC for this system. They could
9 have picked results that another expert calculated for
10 thermal fatigue in another system. So these weren't
11 constant things.

12 Again, the base cases weren't the starting
13 point. The elicitation were just a starting point.
14 Given that that's the base case, how should they be
15 modified to account for reality. And that's what
16 those relative ratios were actually decided -- were
17 actually designed to do.

18 Okay. They're predicting a frequency of
19 ten to the minus six using this model with these
20 limitations, these assumptions and this approach. So
21 when you modify that, you have to make an assessment
22 for how accurate you think they approach assumption
23 and model is. That's part of what goes into the
24 ratios.

25 But again, we set the elicitation up

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 because we didn't want people to provide us just raw
2 frequencies estimates, because there's a lot of work
3 in elicitation that shows you can provide relative
4 estimates ratios where the ratios combine different
5 conditions. And that's what we tried to get them to
6 think about. Different conditions. You know, what are
7 the conditions that would lead to higher or lower
8 frequency estimates than the base case estimates?
9 Well, it could be different water chemistry. It could
10 be a different model that you use to account for the
11 conditional failure probability of having a LOCA of
12 this size. And so there were a lot of different
13 conditions that get rolled into those ratios.

14 So you're right in the sense that they
15 don't come directly from the base cases. They start
16 from there. Start from there, but again they're really
17 based on individual expert opinions and their bottom
18 line estimates.

19 MR. SIEBER: And it's the geometric mean
20 then. And you actually did --

21 MR. TREGONING: For the baseline results.
22 When you get the numbers, it's --

23 MR. ABRAMSON: Well, that's the issue of
24 how you aggregate all this.

25 MR. TREGONING: Yes. Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ABRAMSON: It's very different thing,
2 and we'll talk about that later.

3 MR. TREGONING: Okay. So I'm already
4 behind, again.

5 Quickly we've talked about this. We asked
6 questions in the elicitation on the following topical
7 areas. We asked each expert to evaluate the base case
8 evaluation that the subcommittee did, the subcommittee
9 of four people, the four experts did. We asked them
10 to provide us information on regulatory and utility
11 safety culture. Again, only pertaining to LOCA
12 initiating events. And then we asked a series of
13 questions designed to quantify LOCA frequencies of
14 piping components and then LOCA frequencies of
15 nonpiping components.

16 Again, we asked for two things:
17 quantitative responses and qualitative rationale.
18 Again, all the questions in the elicitation were
19 relative to these chosen set of base case conditions.
20 Again, but these weren't necessarily constant
21 conditions. They could have been highly variable.
22 They could have choose among the four estimates that
23 we gave them or they could have developed their own.

24 Each question we asked them for mid value
25 and then low and high value estimates. And we had two

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 different elicitation structures that they could
2 follow depending on their expertise of the top down or
3 bottom up approach that go into a lot more detail in
4 the NUREG about that.

5 But as important as the quantitative
6 responses are the qualitative rationale. We asked for
7 rationale to support all the quantitative assessments
8 that were made and in the elicitation we really
9 examined inconsistencies between the quantitative
10 answers and the rationale. And we brought those to
11 the panelists' attention.

12 I can tell you in all the individual
13 elicitations we found some inconsistencies that
14 required the experts to go back and modify their
15 estimates in order to be in line with their stated
16 qualitative responses.

17 The next slide. This is a very, again,
18 high level look on how we analyzed the responses. We
19 calculated individual estimates for each panelist.
20 And by individual estimates, we got total BWR and PWR
21 LOCA estimates. Total means that we combined the
22 piping and the nonpiping contribution. We decided to
23 this because this approach was the most self-
24 consistent and it allowed us to get estimates
25 associated with each of the various experts.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Then we've got all these individual
2 estimates and we have to aggregate them at some point
3 in some way.

4 CHAIRMAN APOSTOLAKIS: But you assumed
5 that the low and upper bound of the expert gave, you
6 will repeat the 95th percentile --

7 MR. TREGONING: Yes.

8 MR. ABRAMSON: Well, except for the
9 overconfidence adjustment.

10 MR. TREGONING: Yes, we did do an
11 overconfidence adjustment that's separate. But we
12 treat all their responses --

13 CHAIRMAN APOSTOLAKIS: No, but in the
14 final result the adjustment is included, the
15 overconfidence adjustment is included?

16 MR. ABRAMSON: Yes.

17 MR. TREGONING: In the baseline result
18 it's not, but we talk about the effect of
19 overconfidence on the baseline results in the NUREG
20 report. The baseline results --

21 CHAIRMAN APOSTOLAKIS: Again, if I am the
22 decision maker --

23 MR. TREGONING: Right.

24 CHAIRMAN APOSTOLAKIS: -- which curve do
25 I use and does it include the --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TREGONING: The decision maker curves
2 have included the effect of overconfidence, yes. Yes.

3 MR. ABRAMSON: The error factor
4 adjustments.

5 MR. TREGONING: The error factor
6 adjustments.

7 MR. FORD: So that means that when you
8 look at the LOCA frequency --

9 MR. TREGONING: Yes.

10 MR. FORD: -- they would use the worse
11 case scenario because that would take into account the
12 bad guys, the Davis-Bessie people, the people who
13 don't use work chemistry or --

14 MR. TREGONING: I want to understand your
15 question. By "they"?

16 MR. FORD: The decision makers.

17 MR. TREGONING: Okay.

18 MR. FORD: If you look at this box in the
19 executive summary, because George is saying that's
20 what they're going to look at, do you use another fact
21 at the same time or are they using --

22 MR. TREGONING: Well, you know, do you
23 want to take this or --

24 MR. ABRAMSON: I don't know what NRR is
25 going to be doing, so I can't tell you what they're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 going to suggest to do that.

2 MR. DENNING: I think there's an important
3 interpretation question here. You're assuming the 95th
4 percentile represents a range from among plants as to
5 what it would be in a bad plant.

6 MR. TREGONING: No.

7 MR. DENNING: That's not true at all in
8 the -- it's his assessment of -- I think, of a generic
9 plant as to what that range of uncertainty is. He
10 doesn't know what the true model is.

11 MR. TREGONING: Right. But there are --
12 not only uncertainty, but again but also accounting
13 for broad plant specific differences. Not the single
14 rogue outlier plant, but broad differences.

15 MR. FORD: Because when I asked the
16 question before, what about the bad guys --

17 MR. TREGONING: Yes.

18 MR. FORD: -- you said well it is factored
19 in -- at least your quota is factored in. That's not
20 true?

21 MR. TREGONING: No. Again, we explicitly
22 -- and maybe I wasn't clear earlier. Explicitly said
23 we don't want the balance to reflect a single plant.
24 We want you to reflect broad, you know, uncertainties--
25 -

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SHACK: It says two plants.

2 MR. TREGONING: What's that?

3 MR. SHACK: It says two plants.

4 MR. TREGONING: Yes, two plants. You
5 know, we want to consider broad plant -- we asked them
6 to consider broad plant specific differences but not
7 again the individual plant or just a small handful of
8 hands so that there are two factors of uncertainty
9 that go into the percentile estimates. One it's the
10 uncertainty that each expert has for how accurate is
11 my mid value response. That's one component of
12 uncertainty that is incorporated in there. The other
13 factors is okay, now what additional uncertainty do I
14 have because, again, for IGSCC different plants have
15 different water chemistries, different plants are
16 doing different mitigation strategies, different
17 plants may have different inspection strategies. So
18 both of those components of uncertainty are
19 incorporated or we asked the experts to incorporate
20 those in their evaluation of the bounds.

21 DR. WALLIS: Can you tell us how important
22 they are. How relatively important are they? The
23 differences between plants a small part of their
24 variation or do they count for most of it?

25 MR. TREGONING: That would depend on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 expert. I mean, I would say that that's highly -- that
2 -- I don't know that I could make a general --

3 DR. WALLIS: So I can understand there are
4 differences between plants. But when experts have
5 very different opinions about things, you presume
6 they're all wrong. And you know, I'm not quite sure
7 what I should do with that. But if the differences
8 are due to plant variations, which they all
9 understand, then that's much clearer to me.

10 MR. DENNING: Which one is Galileo?

11 DR. WALLIS: Yes. Which one, yes. So how
12 important are these various between plants compare
13 with the fact that the experts don't know what they're
14 doing?

15 MR. TREGONING: I would say a lot of the
16 uncertainty, again, to try to make as general a
17 statement as possible. A lot of that uncertainty is
18 due to the fact that it's difficult to quantify these
19 estimates.

20 CHAIRMAN APOSTOLAKIS: Do you use
21 different theories?

22 DR. WALLIS: Different theories. Again,
23 the plant specific differences can play a role. But
24 the bigger role is the uncertainty that they have.

25 DR. WALLIS: About what theories, what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 methods that they use --

2 MR. TREGONING: No. But for each expert,
3 a lot of their bounds were, you know, if I make -- for
4 instance if I run -- and I'll use analogy that some of
5 the people can appreciate and some can't. If I run a
6 probabilistic fracture mechanics analysis to try to
7 take into account of subcritical cracking how quickly
8 these things might evolve, those models are
9 unbelievably sensitive to the input assumptions that
10 you have as well as your modeling methodology. So you
11 could end up with very wide error bands, even for a
12 relatively simplified set of conditions.

13 MR. BONACA: That figure that a little bit
14 to that figure that we skipped on page 11 where we
15 have the piping base case --

16 MR. TREGONING: Yes. Yes.

17 MR. BONACA: And a huge spread. And then
18 there is a bunch of -- you know, you described a
19 process to go forward. And then we have to page 18
20 which you haven't covered yet, but at some point I
21 would like to understand how do you get this huge band
22 of uncertainty. I know there is a lot of -- but how
23 do we get from that to this? I've got to understand,
24 not so much the time but the uncertainties.

25 MR. TREGONING: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: I think there is a
2 lot of interest in your actual results and maybe we
3 can stop this discussion of how things were done and
4 if necessary while we look at the results we can come
5 back to how.

6 MR. TREGONING: That's fine.

7 MR. BONACA: That's a good suggestion.

8 CHAIRMAN APOSTOLAKIS: By the way, in
9 order not to have the wrong impression about Galileo,
10 this is a good example of somebody being right. There
11 is a counter examine. Because a lot of people always
12 think that there is a Galileo somewhere. In the
13 seismic arena, there was one expert. The results for
14 years. He was awfully conservative. And the NRC being
15 a federal agency assigned an equal weight to all the
16 experts. EPRI came with the results that were on the
17 other side, complete paralyzes for ten years.

18 NUREG 11.50 produces two sets of results.
19 EPRI, Livermore. And we all knew what Livermore
20 meant. Now I think the community, the expert
21 community in that field believes that what that expert
22 did was not reasonable. It was awfully --

23 MR. TREGONING: Of the mind.

24 CHAIRMAN APOSTOLAKIS: -- of the mind.

25 And in fact, I believe even he himself finally

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 gradually agreed that maybe he was way too
2 conservative.

3 So the issue of assigning equal weights
4 and going with the most conservative guy because we
5 are regulators, we're supposed to be conservative, you
6 know there are counter examples to that. You know,
7 and in the seismic case it was really an excellent
8 example. I mean for about ten years people didn't
9 know what to do.

10 And I remember when the new production
11 reactor was considered by DOE, it made a hell of a
12 difference in the cost, whether you went with
13 Livermore curves or with the EPRI curves. And there
14 was one guy, okay.

15 And on that happy note we will reconvene
16 at 9:44 a.m.

17 MR. TREGONING: We're going to renew some
18 of that past experience.

19 (Whereupon, at 9:28 a.m. a recess until
20 9:44 a.m.)

21 CHAIRMAN APOSTOLAKIS: Rob, would you
22 continue?

23 MR. TREGONING: Yes. We're at slide 15,
24 but I'm going to -- if there's no question, the next
25 two slides I've presented in the past. They document

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 some of the more generic or general qualitative
2 insights that support the elicitation. I'll just move
3 past this because I think we're going to -- we've got
4 a lot more ground to cover and I think there's going
5 to be a lot more questions.

6 So if we could move to slide 17. You've
7 seen this in the past as well, but I think it's good
8 just to show this again for those who haven't.

9 DR. WALLIS: Well, I was going to ask you
10 about aging. You said that aging may have an effect.
11 Isn't aging something which was really understood?

12 MR. TREGONING: Well, I talk about aging
13 may have the greatest effect on intermediate type
14 sizes. The whole elicitation dealt with aging. So by
15 aging I mean all the various generic issues that could
16 have --

17 DR. WALLIS: Well, aging isn't something
18 different. Aging is the same thing.

19 MR. TREGONING: Yes. It's exactly the
20 same. I just used that generically to describe the
21 fact that all --

22 DR. WALLIS: Okay. It's not something
23 else. It's nothing else?

24 MR. TREGONING: No. It's not something
25 new.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: Okay.

2 MR. TREGONING: It's not something new.

3 What I show here quickly are the mean and
4 the 95th percentile estimates. These are aggregated
5 estimates now, and by baseline results we mean they've
6 been aggregated using the geometric mean of the
7 individual panel's estimates. So there's no
8 accounting for, at least in these estimates,
9 differences of opinion among the experts, okay.

10 DR. WALLIS: But you're going to show us
11 the means later?

12 MR. TREGONING: Yes, later. The next
13 slide -- well, I'm sorry could you repeat the
14 question?

15 MR. BONACA: The question was, you know,
16 we are presented on page 11 with the packing base case
17 so many results.

18 MR. TREGONING: Yes. Yes.

19 MR. BONACA: A huge spread. And then we
20 move onto this results. And I show the ones at the
21 next page and they're much more converged. Could you
22 tell me how we managed to do that?

23 MR. TREGONING: Well, again, the base --
24 I will say the results on slide 11, those are old
25 results. They have converged somewhat. They're not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 quite as bad as they look. However, we discussed in
2 the base case evaluation meeting some of the reasons
3 for those differences. So some of the difference are
4 really due to limitations on the current modeling
5 procedures that were employed. All the experts
6 recognized that, and they all agreed that the
7 differences that you got in the base case evaluations
8 was probably exaggerated and here's why it was
9 exaggerated.

10 DR. WALLIS: Well, I think the reason it's
11 come together is because you forced it to be log
12 normal does something about the 95th percentile. And
13 it's the tail, it brings the tail in.

14 MR. SHACK: No. I mean, for example on
15 his BWR2 case, the guy with the ten to the minus 16th
16 considered only thermal fatigue. The guy with the
17 higher number considered FAC.

18 MR. TREGONING: FAC, right.

19 MR. SHACK: And so there's no reason that
20 the numbers should be even in the same galaxy.

21 DR. WALLIS: The reason this looks so
22 broad because you've made it log normal.

23 MR. DENNING: I don't think it's just
24 that. I think it's also the geometric means of the --

25 MR. TREGONING: We're going to get into

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that. We're going to get into that. This is done by
2 taking, again, the geometric mean of all the
3 individual panelists' response. This particular
4 curve, like I said, there's no measure of variability
5 among the panel given by this result at all.

6 MR. BONACA: The point I wanted to make is
7 that before, you know, during the exchange I believe
8 Shack mentioned that still, I mean, those are the base
9 case. To the degree to which you have it in a report,
10 okay, with the proviso, that someone has gone more
11 with certain effects than others do, you know you're
12 puzzled when you begin to move to this -- so --

13 MR. TREGONING: Again, base cases are just
14 a starting point. And each expert had to believe --
15 they had to make a selection as to what base case they
16 thought was more appropriate for them to experiment.

17 MR. BONACA: And that is more the concern
18 that I have that, you know, these were individual
19 evaluations.

20 MR. TREGONING: Yes.

21 MR. BONACA: Then the group got together,
22 they began to -- there is a normalization process on
23 the part of the team that works together that tends to
24 probably look like almost what I would call a herd
25 effect. I mean, people converging.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TREGONING: Yes.

2 MR. BONACA: Is there something of that in
3 here?

4 MR. TREGONING: No, no, no. Not at all. I
5 mean, this curve was developed, this was our -- these
6 were estimates that were developed after the
7 elicitation using all of the individual estimates.
8 There was no feedback where the experts sat down and
9 tried to rectify or minimize the differences that they
10 had in their individual estimates.

11 MR. BONACA: Okay.

12 MR. TREGONING: We explicitly did not want
13 that because we wanted to make sure we got as much
14 variability and uncertainty as we thought were, you
15 know, applicable for these type of estimates. So, no,
16 we specifically did not attempt to get any sort of
17 consensus estimates from the group as whole, you know,
18 sitting in a room and saying I think as a group we're
19 going to take a vote and we think LOCA for 2 inch
20 breaks, it should be ten to the minus four.

21 MR. BONACA: I didn't mean it that way. I
22 didn't mean it that way.

23 MR. TREGONING: But there was nothing, you
24 know, even conceptually like that at all. It was
25 these were just developed, again, based on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 processing techniques for aggregating the individual
2 results.

3 Now if you look at the next slide, you get
4 more of a sense for some of the differences among the
5 experts because we've included not just the geometric
6 mean of the individual panelist estimates by these
7 curves, but we also have 95 percent confidence bounds
8 about each of those points. So you get a sense for how
9 wide the variability was among the various experts.
10 And as you can see here, if you look at it, for
11 instance the PWR case is a great example.

12 If you look for the very small breaks,
13 there's pretty tight confidence bounds associated with
14 those results, relatively. Because, again, this is
15 closer to our operating experience. There's not an
16 expectation that that operating experience needs to be
17 significantly modified.

18 But then when you get all the way down to
19 the bottom when you're looking at the biggest LOCAs,
20 there's a lot of variability there. And, you know, if
21 you look at the 95 percent confidence bounds, there's
22 about two orders of magnitude plus or minus the means.

23 So, you know, I would argue these results
24 do not suppress the uncertainty that the experts have
25 given us, or the variability that was apparent among

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the different estimates that we got from a plant.

2 CHAIRMAN APOSTOLAKIS: But there is a
3 question here now. The decision maker who will pick
4 the transition size --

5 MR. TREGONING: Yes.

6 CHAIRMAN APOSTOLAKIS: -- we look at slide
7 17 or slide 18?

8 MR. TREGONING: Slide 18.

9 CHAIRMAN APOSTOLAKIS: Eighteen?

10 MR. TREGONING: Yes. Right.

11 CHAIRMAN APOSTOLAKIS: And that's all
12 you're giving that person?

13 MR. TREGONING: Well, no.

14 MR. KRESS: We're giving them the whole
15 report.

16 MR. TREGONING: Yes.

17 CHAIRMAN APOSTOLAKIS: Well, yes.

18 MR. TREGONING: You know, the intent is
19 not to just hand these things over to NRR like giving
20 them the car keys and saying, you know, have at it.

21 MR. KRESS: Or a 16 year old?

22 MR. TREGONING: Or to a 12 year old.

23 DR. WALLIS: Tell NRR that.

24 MR. TREGONING: No, and it's not -- and it
25 would be unfair. I mean, it would be unfair to do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that. We've tried to provide them not only the curves,
2 but again we've tried to give them a full
3 understanding of the elicitation process, it's
4 limitations, how you use the results. Not all of that
5 is in the report, of course. But, no, when we
6 provided these results to NRR, we've had working
7 groups between Research and NRR that have lasted for
8 the last two years. And they're well informed of the
9 process. They are -- we've had lots of discussions on
10 how these results should be used, how you could use
11 them, what are pros and cons of using these baseline
12 results versus some of the sensitivity analysis
13 results that I'm going to show later.

14 DR. WALLIS: Are these done as times of
15 frequency for calendar year per plant?

16 MR. TREGONING: Yes.

17 DR. WALLIS: Per plant?

18 MR. TREGONING: Yes, this is essentially
19 per plant.

20 CHAIRMAN APOSTOLAKIS: But wouldn't it be,
21 though, useful here to actually try to get a consensus
22 curve on the experts? Again, if I go to the SRL and
23 he tells me use the frequency distribution from the
24 experts, and the mean value of that, I would have to
25 develop it from this information, won't I?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TREGONING: Yes. If you were going to
2 follow that approach.

3 CHAIRMAN APOSTOLAKIS: So you've given
4 them what they want?

5 MR. TREGONING: If we would have developed
6 consensus estimates, which would have been one
7 approach we could have used --

8 CHAIRMAN APOSTOLAKIS: Yes.

9 MR. TREGONING: -- but we would have been
10 necessarily suppressing the uncertainty value.

11 CHAIRMAN APOSTOLAKIS: No. Because the
12 experts would be fully aware of these uncertainties
13 and then they might say, okay, given the uncertainty
14 of the 95 percentile you bate it and so on, and say
15 okay this is our best guess. Because now the
16 Commission wants a distribution of the frequency of
17 LOCA.

18 MR. TREGONING: Yes.

19 CHAIRMAN APOSTOLAKIS: And you're not
20 giving it to them.

21 MR. ABRAMSON: If you want a consensus, I
22 would submit that the closet thing to a consensus is
23 essentially it's indistinguishable from it, I think,
24 in this report would be the --

25 MR. TREGONING: Geometric.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ABRAMSON: -- geometric mean of the
2 results. Because it's in the center of the expert, of
3 their opinion. If we're going to use -- I mean, what
4 is a consensus? A consensus is something that the
5 group can, if not agree on, at least live with. And I
6 would submit that the only thing that they could love
7 with, it's got to be somewhere in the center of the
8 distribution. It cannot be --

9 CHAIRMAN APOSTOLAKIS: Well, we don't know
10 that. We don't know that.

11 MR. ABRAMSON: Well, I know --

12 MR. TREGONING: We do know that in the
13 sense that we -- when we had the BPC feedback meeting,
14 we presented the results of these baseline results and
15 some different ways of aggregating, especially
16 specifically using the arithmetic mean instead of
17 geometric mean, there was a hue and cry from the
18 experts when the arithmetic mean was --

19 CHAIRMAN APOSTOLAKIS: Yes, I know.

20 MR. DENNING: Now wait a second, because
21 again I want to go back to the arithmetic mean. I
22 agree that you get a consensus with the geometric mean
23 when you're all done.

24 MR. TREGONING: Right. Right.

25 MR. DENNING: But I think that by not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 using the arithmetic mean I think that you underplay
2 the model that's associated with the more conservative
3 people, whether they're conservative or they're real,
4 we don't know. But I think that you have really driven
5 down the very large uncertainty that will exist in
6 being able to model these things by taking the
7 geometric means of, for example, the 95th percentiles
8 as well as the medians.

9 MR. TREGONING: Right. But again --

10 MR. DENNING: I think you would see a much
11 larger dispersion that's more representative of real
12 dispersion of knowledge that exists if you're taking
13 the arithmetic mean.

14 CHAIRMAN APOSTOLAKIS: I think all of this
15 discussion assumes that you have to do some sort of a
16 mathematical method to process this information. What
17 I mean by consensus is the people sitting in the room
18 debating these things and coming up with some
19 distribution that everybody is not happy, but maybe
20 not too unhappy with the results. It's the result of
21 a deliberative process, not necessarily an arithmetic
22 mean or geometric mean and whatever.

23 MR. TREGONING: Right. And we did get some
24 feedback when we presented the various estimates. I
25 mean, you get a sense from the panel. We didn't want

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to develop these curves by committee because, again,
2 the experts that we have are expects in the subject
3 matter. They're not experts on what this distribution
4 should look like. This distribution was developed
5 based on their raw input, so --

6 CHAIRMAN APOSTOLAKIS: But if I look at
7 slide 17 and 18 I get very different impression
8 regarding what the current space of knowledge is
9 regarding --

10 MR. TREGONING: Well, of course, because
11 we don't present anything about variability in this
12 slide. So, of course, as well you should. And that's
13 why we explicitly calculated these confidence bounds
14 to express the difference of opinion among the
15 experts. We're not trying to suppress that here.
16 It's just a different way of looking at it than you
17 get if you create like a mixture distribution, which
18 we're going to look at later, which I think is what
19 you're --

20 DR. WALLIS: Well, why does the 95
21 percentile so important? Why not 99th or some other
22 percentile?

23 MR. ABRAMSON: Well, the 95th percentile
24 is an expression of the individual expert's
25 uncertainty about their results.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: Well, we've got 100 reactors.
2 Maybe I need to worry about one in a 100 rather than
3 five in a 100.

4 MR. ABRAMSON: Well, the experts were
5 asked to talk about the so-called generic the bulk of
6 the reactors and so on. And all their responses were
7 focused on that. So we asked for their mid values and
8 their uncertainty bounds on the mid values on their
9 medians. So I think the best interpretation of the
10 95th and the 5th percentile is the individual expert's
11 uncertainty about their responses. That's what it is.
12 And then when we talk about diversity, we're talking
13 about the difference between experts.

14 MR. TREGONING: But just to follow up, we
15 could have processed these results and term it any
16 percentile we wanted.

17 MR. ABRAMSON: Yes, right.

18 MR. TREGONING: The problem is because
19 some of these distributions were so greatly skewed,
20 the further out in the percentiles you try to
21 calculate, the more the assumption of the
22 distributional shape becomes important.

23 So the 95th is relatively robust in terms
24 of that consideration again.

25 MR. ABRAMSON: And also --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TREGONING: There are pragmatic
2 reasons for limiting it to the 95th as well as, you
3 know, theoretical reasons as well.

4 MR. ABRAMSON: Well, and I wouldn't say
5 theoretical, but the traditional reasons. I mean,
6 traditionally the 95th percentile has been used in an
7 upper bounds and used -- in particular, the NRC has
8 used it. So that's why we picked that.

9 DR. WALLIS: You're establishing a
10 tradition. It hasn't been very much. But it has been
11 used.

12 MR. ABRAMSON: It was used in 95.95 and
13 NUREG 11.50, I believe used the 9th percentile
14 estimates and so on.

15 MR. TREGONING: So, no, we're not trying
16 to establish policy with this, certainly.

17 Okay. Let's get into some of the more
18 interesting discussion that I think people would like
19 to see. And there's been a number of sensitivity
20 analyses. Given the time that we're at, I don't want
21 to go into great detail into all of these. There's a
22 lot more detail in the NUREG report.

23 I think what I'll do is --

24 DR. WALLIS: It doesn't make much
25 difference, though, does it really?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TREGONING: Oh, it can make a huge
2 difference. And you're going we're going to see this.

3 DR. WALLIS: Really?

4 MR. TREGONING: I'm going to focus on two
5 areas. We did sensitivity analyses in five areas, and
6 I've listed them here. We looked at the effect that
7 the distribution shape has on the mean. We looked at
8 the effect of overconfidence adjustment. We looked at
9 the effect of the correlation structure that we
10 applied to the panel's responses. We looked at
11 different methods of aggregating expert opinion. And
12 we look at panel diversity measurements.

13 Of these five, I'm going to try to tackle
14 two, maybe three. Let's look at the overconfidence
15 adjustment, the aggregating expert opinion and the
16 panel diversity measurements. I think those are
17 probably the most interesting. Certainly if there's
18 questions on the other areas, we can cover those as
19 well.

20 We're going to go to slide 23. And this
21 is the overconfidence adjustment. We've talked a
22 little bit about this already. It's well know that
23 experts are generally overconfident about their
24 uncertainty. So another way of stating that is people
25 tend to underestimate their true uncertainty.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now, this has been demonstrated, as Lee
2 likes to quote from the research, many times in
3 studies evaluating elicitation results using almanac
4 type questions; the questions where you ask people
5 where you actually have an answer that you can use to
6 evaluate their response and how accurate their
7 response is.

8 The rule of thumb here, and again it's no
9 -- there's no hard and fast rule, but the general rule
10 of thumb is that the true coverage interval is
11 approximately half the nominal coverage interval. So
12 the implication is we asked in the elicitation for a
13 given response to give us the 90 percent coverage
14 interval. So essentially an interval at which your
15 response is not likely to -- you know, there's a ten
16 percent chance that the true response could be
17 different from your coverage interval.

18 Well, the implication from this various
19 research is that the true coverage interval that we
20 get is somewhere around 50 percent. Okay. And I
21 think if you look at the research, this can vary quite
22 dramatically from 30 percent up to 70 percent
23 depending on the specific questions in the elicitation
24 and things like that.

25 So certainly because of this known fact we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 wanted to evaluate the effects of doing an
2 overconfidence adjustment on the results. So how did
3 we do that?

4 Well, we never altered or adjusted any of
5 the mid value responses that we got from the
6 panelists. So whatever they said their best guess was
7 for a particular response, we never altered that at
8 all. What we did do is we evaluated adjusting their
9 bounds for the individual responses. And we looked at
10 two different ways, again much more detail in the
11 NUREG.

12 We looked at an ad hoc method where we
13 actually individually adjusted the coverage intervals
14 of their individual estimates, and then we looked at
15 a more quantitative estimate where we adjusted the
16 error factors associated with their bottom line
17 responses.

18 So we did all the processing. And one way
19 we did the processing, got their final estimates, come
20 up with error factors, we adjusted those error facts.
21 And the other way we went back to every particular
22 response and adjusted them individually.

23 CHAIRMAN APOSTOLAKIS: So when you
24 adjusted the other factors, are you going to show?

25 MR. TREGONING: I'm going to show you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Yes. And I'm really going to -- the only one I'm
2 going to talk about now is the error factor
3 adjustment. If I go back, the other adjustment where
4 we did broad adjustment, we have to make a lot of
5 assumption about how overconfident they were. And
6 that's not a -- again, other than this rule of thumb,
7 it's not an easy thing to quantify.

8 So with the error factor adjustment we let
9 the rest of the experts do our correction for us, in
10 a sense. So how did we do that? Well, with the error
11 factor adjustment, you can look at the philosophy on
12 page 24. We compared all the individual estimates
13 with the group estimates for uncertainties or the
14 group estimates for error factors. And based on the
15 difference between any individual and these group
16 estimates, that would determine how much adjustment
17 they got.

18 MR. ABRAMSON: And the group estimate for
19 the geometric means.

20 MR. TREGONING: With the geometric -- so
21 we took all the error factors for all the different
22 LOCA categories for all the experts and calculated the
23 geometric mean of all those different error factors.
24 That's what documented in this table here. So this is
25 the geometric mean of all the individual panelist's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 error factors.

2 Now what we did for panelists that error
3 factors below the geometric mean, we adjusted them up
4 to the geometric mean of the panel. So we didn't
5 change their median responses, we changed their error
6 factor. For all those that had error factors above
7 the geometric mean, we didn't do anything. We just
8 left their responses as is. So we only adjusted those
9 experts that had uncertainty that was less than the
10 group average.

11 MR. DENNING: And why didn't you adjust
12 them all? They all under estimated their --

13 MR. TREGONING: We tried that, and it was
14 clear when we tried that that some people did not
15 under estimate their uncertainty.

16 MR. DENNING: Oh. Well, how would you
17 know that?

18 MR. TREGONING: When you do broad
19 adjustments of the results, some of the results had
20 such large error factors associated with them, that
21 when you do a broad adjustment the results aren't
22 supported by the operating database anymore.

23 MR. DENNING: So --

24 MR. TREGONING: And you would end up with
25 mean values -- the distributions would get incredibly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 skewed.

2 MR. DENNING: Yes. But you know what it's
3 telling you is that the uncertainty here is extremely
4 large.

5 MR. TREGONING: Of course.

6 MR. DENNING: Is what it's telling you.

7 MR. TREGONING: Yes, of course.

8 MR. DENNING: Yet but now you're
9 artificially narrowing it.

10 MR. TREGONING: No, no, no, no. We're not
11 artificially narrowing anything.

12 CHAIRMAN APOSTOLAKIS: Why don't you got
13 slide 23.

14 MR. TREGONING: Okay.

15 CHAIRMAN APOSTOLAKIS: Wouldn't that be--

16 MR. TREGONING: Go back?

17 CHAIRMAN APOSTOLAKIS: Yes, go back and go
18 to the section subbullet in the middle there. The true
19 coverage level is about 50 percent. Take each expert's
20 estimates --

21 MR. TREGONING: We did that. We did that.

22 CHAIRMAN APOSTOLAKIS: And then instead
23 of, you know, assuming it's 95th or assume it's 75th-
24 -

25 MR. TREGONING: We did that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: And then proceed.

2 I mean --

3 MR. TREGONING: We did that.

4 CHAIRMAN APOSTOLAKIS: And what did you
5 get from that?

6 MR. TREGONING: Nonsensical estimates.

7 CHAIRMAN APOSTOLAKIS: Why? Nonsensical
8 according to whom?

9 MR. TREGONING: According to not only the
10 shape of the distribution, again, they just were
11 unsupported results. We document those results in the
12 report.

13 CHAIRMAN APOSTOLAKIS: I don't understand
14 what it means unsupported.

15 MR. TREGONING: Well, a couple of things
16 happened. One, when you do these individual
17 adjustments, the mean gets dramatically adjusted. Much
18 more so than the percentiles. So you had many
19 estimates where you could end up in the extreme with
20 mean frequencies predicting for maybe a double break
21 LOCA of, I don't know, ten per year or something like
22 that.

23 CHAIRMAN APOSTOLAKIS: No.

24 MR. TREGONING: Well, okay. Well, that's
25 what I meant by nonsensical.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: So maybe it's not nonsensical
2 and it's telling you something.

3 MR. TREGONING: Yes, it did tell us
4 something. It told us that that overconfidence
5 adjustment was not appropriate.

6 DR. WALLIS: Because you didn't like the
7 answer, either.

8 MR. TREGONING: Because it didn't make
9 sense.

10 DR. WALLIS: If you think that they really
11 can tell the difference between the 95 percentile and
12 the 75th percentile in their judgment, I think you're
13 wrong.

14 MR. TREGONING: No, I'm not making that
15 claim. I'm not making that claim.

16 DR. WALLIS: Well, you just said if we
17 interpreted it to the 75th percentile that you got--

18 CHAIRMAN APOSTOLAKIS: Yes, this is a very
19 old result.

20 MR. TREGONING: Yes, there's nothing new,
21 there's nothing new here.

22 CHAIRMAN APOSTOLAKIS: What you're trying
23 to do is really confirm --

24 MR. TREGONING: There's nothing new.

25 CHAIRMAN APOSTOLAKIS: When people give

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you their upper and lower bounds, they're really
2 biasing it towards the 25th and 75th. This is a pretty
3 good result, in fact, you know sort of ground. But I
4 don't understand why if you apply it, you get
5 nonsensical results.

6 MR. TREGONING: Because the distributions
7 that we got from the experts, they're skewed. They're
8 highly skewed in some cases.

9 MR. ABRAMSON: I think it is because the
10 initial results are very -- their orders of magnitudes
11 it not only different between the upper and lower
12 bounds that the experts give us for the individual
13 responses, and we multiply this and we add them up, we
14 combined them. And that's the way it works out.

15 You have a great deal of uncertainty and
16 then if you like -- the process, I wouldn't say
17 magnifies it, it reflects it. It reflects it. The
18 result reflects the uncertainties.

19 MR. TREGONING: The thing you have to be
20 careful about with elicitations is even though this
21 rule of thumb is, again, it's old hat, there's no --
22 you know, there's no agreed upon way as to how to
23 correct for these estimates. And there's tremendous
24 variability depending on the elicitation structure and
25 the specific questions as to what that true coverage

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 interval is.

2 CHAIRMAN APOSTOLAKIS: And the question
3 is--

4 MR. TREGONING: And if you look at the
5 literature, and you know this better than me, you see
6 ranges of amounts of under estimate of uncertainty
7 that can vary from 30 to 70 percent. The implication
8 on the results between 30 and 70 difference, a
9 difference in under confidence estimation is huge.
10 Tremendous.

11 CHAIRMAN APOSTOLAKIS: But all this
12 discussion about huge and tremendous and so on, I
13 wonder if that's reflective on this slide on page 17
14 and 18? I mean, because these distributions and --
15 you know, again, the decision makers are not expert of
16 these things.

17 MR. TREGONING: That's right.

18 CHAIRMAN APOSTOLAKIS: They're not aware
19 of the values bases and so on.

20 MR. TREGONING: That's right.

21 CHAIRMAN APOSTOLAKIS: So when they look
22 at these results, in fact make a decision, the
23 question is how much information do they have? Are
24 they fully aware of these uncertainties?

25 MR. TREGONING: Yes, these particular

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 results that I'm showing on 18 don't include any
2 overconfidence correction.

3 CHAIRMAN APOSTOLAKIS: Yes.

4 MR. TREGONING: But, again, this error
5 factor correction that we employed, we do correct the
6 results based on that. And those were supplied to
7 decision maker --

8 CHAIRMAN APOSTOLAKIS: Well, let me
9 understand this then, because I'm a little confused.
10 Which slide do you think the decision maker will rely
11 on? You say this does not result, which slide is
12 your final result that somebody at NRR would have to
13 really use it as his basis for making a decision? Is
14 it 18?

15 MR. TREGONING: You know, I don't
16 explicitly have that slide here because we were
17 walking -- we wanted to walk you through the different
18 changes that could occur.

19 CHAIRMAN APOSTOLAKIS: But in the report
20 then, is there a figure somewhere that if I were the
21 NRR probably making the decision, would be my
22 baseline?

23 MR. TREGONING: It would be the baseline
24 results. Our recommendation would be the baseline
25 results that are corrected for overconfidence using

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the error factor adjustments.

2 CHAIRMAN APOSTOLAKIS: Okay. So it's
3 slide 18 here, but then there is another slide where
4 there is a correction?

5 MR. TREGONING: Yes. Yes. There are other
6 slides in the report that are correct.

7 CHAIRMAN APOSTOLAKIS: Looks very similar.
8 But which one is it? Can we identify in a figure?

9 MR. TREGONING: Yes. Go to section H.

10 CHAIRMAN APOSTOLAKIS: Section H?

11 MR. TREGONING: Yes. Section H. And look
12 in the section -- if you've got the report --

13 CHAIRMAN APOSTOLAKIS: Yes, we have the
14 report. It would be nice -- oh, correction results.

15 MR. TREGONING: The figures H-21 and H-
16 022.

17 CHAIRMAN APOSTOLAKIS: Now these are the
18 main figures --

19 MR. TREGONING: These would be the main
20 figures, yes.

21 CHAIRMAN APOSTOLAKIS: Okay. Thank you.

22 MR. TREGONING: Yes.

23 CHAIRMAN APOSTOLAKIS: They're on page H-
24 29. This is a very important --

25 MR. TREGONING: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: But they don't look
2 very different. There's a slight upward motion.

3 MR. TREGONING: Yes. Well, if you look at
4 the error factor adjustment --

5 CHAIRMAN APOSTOLAKIS: It doesn't look
6 very different.

7 MR. TREGONING: -- scheme, it ends up, and
8 I show it here --

9 CHAIRMAN APOSTOLAKIS: Maybe it's a factor
10 two, but it doesn't show it in a large scale.

11 MR. TREGONING: There's about a factor of
12 two.

13 If you look at the results here, the BWR
14 there's about a factor of two difference with the
15 baseline. For the PWR there's a factor of three or
16 less difference with the baseline estimates.

17 MR. DENNING: But it does bother me that
18 even in error factor correction, we only make that
19 correction for people that are below the median of the
20 things. We don't make it for everybody.

21 MR. TREGONING: Well, what would you --

22 MR. DENNING: You made the correction, if
23 I understood it properly --

24 MR. TREGONING: Right.

25 MR. DENNING: -- anybody that was below

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the median used --

2 MR. TREGONING: Mean not the median, but
3 it's close. It's approximate.

4 MR. DENNING: But anybody that was above,
5 they did not get a correction because if you've made
6 that correction for them, then the results were
7 dramatically impacted and --

8 MR. TREGONING: No, no, no. How would we
9 have corrected them? Down?

10 MR. DENNING: No, no, no. You would have
11 increased the error factor according to the
12 difference--

13 MR. ABRAMSON: No, what you say is
14 correct. I mean, we could have made an adjustment for
15 those above the geometric mean also.

16 MR. DENNING: Yes.

17 MR. ABRAMSON: We just didn't do that.
18 But that could be another sensitivity study.

19 DR. WALLIS: You should just present those
20 results, though.

21 MR. TREGONING: Pardon me?

22 DR. WALLIS: You should present those
23 results.

24 MR. TREGONING: They are presented.
25 They're presented in the NUREG.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DENNING: Oh, those are with an error
2 factor for everything?

3 MR. TREGONING: There are, if you look in
4 the adjustment scheme, we called blanket and target
5 adjustments where we adjusted the coverage interval.
6 The blanket adjustment is exactly that, it adjusts
7 everyone to the same degree. It's not an error factor
8 adjustment. We adjusted the individual responses to
9 reflect from a 90 percent to a 50 percent.

10 MR. DENNING: But not using error factor.

11 MR. TREGONING: Not using -- no. We went
12 into the individual responses themselves and adjusted
13 all of them the same way. So those results are
14 described in there.

15 DR. WALLIS: Of which curve summarizes
16 those results?

17 MR. TREGONING: There's some -- I don't --
18 I don't have a curve like this, but there's some plots
19 in there that show --

20 DR. WALLIS: Well, I thought you said when
21 you went from 90 percent to 50 percent coverage, you
22 got absurd results. I don't see any absurd results in
23 this report.

24 MR. TREGONING: I don't present every
25 single results for every LOCA category. We presented

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 selected results. I think I showed the case for LOCA
2 category three.

3 DR. WALLIS: So why didn't you present
4 them for LOCA category? It's just another way of
5 presenting the results?

6 MR. TREGONING: We could have. We tried --
7 there's so much -- I think earlier you said this was
8 an incredibly dense report to get through. And we
9 tried to present things that were reported. And we
10 tried to summarize every --

11 DR. WALLIS: But you're giving us summary
12 curve to a decision maker which you've selected from
13 a bunch of things you could have given this decision
14 maker.

15 MR. TREGONING: That's correct.

16 DR. WALLIS: Why didn't you give him the
17 one where he corrected everything from 90 to 70?

18 MR. ABRAMSON: Just let me try to respond
19 to that. We're doing sensitivity studies, sensitivity
20 analysis. And sensitivity analyses you examine
21 excursions from your assumptions to see how they
22 effect the answers, but you don't examine all possible
23 excursions. We try to use a kind of a rule of reason
24 and the same ones that seem plausible in some sort, or
25 at least bound throughout possibility.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: You threw out the ones you
2 didn't like.

3 MR. ABRAMSON: Pardon me?

4 DR. WALLIS: You threw out the answers you
5 didn't like.

6 MR. ABRAMSON: No, that we didn't like
7 that we felt were not supportable, that were not
8 supportable, would not be accepted by anybody really.
9 And therefore, we didn't see --

10 DR. WALLIS: And you left it to me to make
11 the choice.

12 MR. ABRAMSON: Well, we could do that. We
13 could say here is a complete range of stuff --

14 DR. WALLIS: But it in an appendix --

15 MR. ABRAMSON: We could have just
16 presented the raw data for all of us. Right. But we
17 tried to exercise some judgment here and to guide the
18 reader and say, look, the range of sensitivity studies
19 we've done, we feel in effect encompasses a plausible
20 range that you would want to consider when you're
21 making a decision. It's a very wide range by itself.
22 SO we made that choice. And you're suggesting we
23 could have made it broad --

24 DR. WALLIS: Well, what we're trying to do
25 is to see whether you have artificially narrowed the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 uncertainty range in a way which might be misleading
2 to someone interpreting the results. That's what I
3 think what we're trying to determine.

4 MR. TREGONING: But here you're trying to
5 determine if we have corrected -- if we have
6 artificially corrected the uncertainty range that was
7 provided by the expert to a sufficient enough degree
8 to account for some of these known rule of thumbs.
9 But, again, these are rules of thumbs, there's no
10 procedure. There's no standardized procedure that
11 holds for the analysis of this stuff.

12 CHAIRMAN APOSTOLAKIS: Well, you have to--
13 I mean, that's what I meant earlier by giving the
14 report that later -- or supporting the decision
15 maker.

16 The SRM is very clear. It was not
17 addressed to you but it was addressed to the big
18 question of risk-informed in 50.46. And it gives a
19 suggestion there that we may want to use the mean
20 value of the expert opinion based this division. And
21 you do work with all sorts of sensitivity studies and
22 so on, but you don't provide that distribution to the
23 Commission.

24 So maybe when you revise this as the
25 result of -- after the public comment period, you have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to have that distribution which is your best shot at
2 it. By telling me go to page H-29 and look at all
3 these uncertainties, if I am a Commissioner, you're
4 not helping me. Do you expect me to go to that
5 distribution?

6 I think that, you know, in the future you
7 should really seriously consider developing that
8 distribution with all the caveats, you know, and all
9 that because that's what the SRN says. You don't want
10 to --

11 MR. ABRAMSON: Well, again, what you seem
12 to be in mind intruding into is a whole area -- well,
13 not intruding, but bringing it up, a regulatory
14 application. Now, this report is just trying to
15 report on the results of the expert elicitation. It's
16 a separate job. And I guess that's what you're asking
17 for is how you would use the results of this report
18 for making regulatory decision --

19 CHAIRMAN APOSTOLAKIS: Well, that's not
20 what I'm saying here. I realize that there is a
21 separation of powers there.

22 MR. ABRAMSON: Yes, right.

23 CHAIRMAN APOSTOLAKIS: But you still have
24 to provide the information that these other guys do.

25 MR. ABRAMSON: Of course.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: And if I go and
2 read the SRM, it says the distribution from the expert
3 opinion elicitation. And I look at this thick report
4 and I can't find that distribution. You're expecting
5 me to do it. And that's not -- I really -- I think you
6 should consider seriously, because this is not the
7 final job, right?

8 MR. TREGONING: Right.

9 CHAIRMAN APOSTOLAKIS: I mean, you go now
10 to public comment and so on.

11 MR. TREGONING: Right.

12 CHAIRMAN APOSTOLAKIS: Maybe, you know,
13 your stuff because I don't know whether you can go
14 back to the experts, should try to take the figures on
15 page H-29 and using some judgment say now if you
16 really want a distribution, this is it. This is our
17 best --

18 MR. SHACK: It gives them a table?

19 CHAIRMAN APOSTOLAKIS: Huh?

20 MR. SHACK: It gives them a table.

21 MR. ABRAMSON: Yes, but you see --

22 CHAIRMAN APOSTOLAKIS: Well, give them a
23 table? What table is that?

24 MR. ABRAMSON: Well, George, I think
25 what's happened. What you're saying is you would like

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 some information to assist the decision makers, in
2 this case the Commission, in ultimately making the
3 right decision. But I think the staff should only go
4 so far as to do the decision maker's job for them. I
5 think it would be a mistake in this whole regulatory
6 process is to present the result and say, look, this
7 is it, you got to use the mean value, and that's it.

8 CHAIRMAN APOSTOLAKIS: No, no, no.

9 MR. ABRAMSON: I think you have to present
10 the results in such a way that the decision makers can
11 exercise some judgment and also use the individual
12 criteria they all have about how they want to focus
13 this in, how much uncertainty, how much do they want
14 to build into it, how much conservatism they want to
15 build into the regulatory process.

16 CHAIRMAN APOSTOLAKIS: I can understand
17 that.

18 MR. ABRAMSON: I think it's the proper job
19 of the staff to present this in as clear a way as
20 possible as to what the range of possibilities is and
21 what the value, the arguments pro and con are.

22 CHAIRMAN APOSTOLAKIS: Is there a table of
23 raw data of what the experts actually said?

24 MR. TREGONING: There will be in the final
25 report.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: Because then we get
2 a student from MIT will look at it and come up with
3 completely different results from yours.

4 MR. TREGONING: Yes. No. We will have the
5 raw data. But just to--

6 CHAIRMAN APOSTOLAKIS: I don't understand
7 why you're resisting. I mean, why is so hard to give
8 your best distribution when all sorts of --

9 MR. ABRAMSON: I don't know what a best
10 distribution is. I don't know what this means. It's
11 a vague term and we tried to avoid using that here.

12 CHAIRMAN APOSTOLAKIS: Page 24.

13 MR. DENNING: Let's look at page H-24.

14 MR. TREGONING: Just one thing of
15 philosophy behind the NUREG. We tried to strike a
16 balance. We've heard two different things. We heard
17 Dr. Wallis say you need to present everything. And
18 then we heard Dr. Apostolakis say you really need to
19 boil it down to one curve that the regulators --

20 CHAIRMAN APOSTOLAKIS: And these are not
21 inconsistent. I'm not saying that --

22 MR. TREGONING: Okay.

23 MR. DENNING: Let's look at page H--

24 MR. TREGONING: What we tried to do --

25 MR. DENNING: Let's look at page H-24.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: H-24.

2 MR. DENNING: Figure 817.

3 CHAIRMAN APOSTOLAKIS: Okay.

4 MR. DENNING: Okay. Now if I'm
5 interpreting this properly, then this is looking, at
6 least for these category three LOCAs, the variety of
7 different ways that you've treated the data and the
8 kinds of results you can get. And when you look at
9 that, what it tells you -- what it tells me, and I'm
10 overstating it for effect, is that it makes a heck of
11 a lot of difference as to how you treat this
12 elicitation as to how the regulator interprets it.

13 CHAIRMAN APOSTOLAKIS: Right.

14 MR. DENNING: And I'm not sure that
15 there's a clear path forward where they can say, well,
16 this one curve would be the one that would really help
17 the regulator because reality is there's an awful lot
18 of uncertainty here. And I fear that if you just show
19 the curve that we've been seeing here like on page 18,
20 it gives you a feeling of much more rigor and
21 definitiveness than exists.

22 DR. WALLIS: You want to be careful,
23 because now you may again publish the raw data. A lot
24 of Ph.D students around the country can use those and
25 come up with other results. If they come up with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 results that differ substantially from yours, it puts
2 the whole thing in question. So you've got to have a
3 really defensible thesis.

4 MR. TREGONING: And again, I guess from an
5 academic viewpoint, I would value other people looking
6 at these results and looking at different --

7 DR. WALLIS: But you see what you mean?

8 MR. TREGONING: No, I see what you mean,
9 and that's why the report is such that we tried to
10 present the sensitivity analysis that effect the
11 results most dramatically. I feel very comfortable in
12 stating that if a Ph.D. student from MIT would look at
13 this data --

14 CHAIRMAN APOSTOLAKIS: Let's leave MIT
15 out.

16 MR. TREGONING: Ph.D. from St. Louis
17 University would look at this data, that I don't think
18 they're going to determine estimates that fall outside
19 of the various bounds that we've described that are
20 possible.

21 DR. WALLIS: So it's very robust. Your
22 answer is going to be very robust?

23 MR. TREGONING: No. We've presented a
24 wide range of possible -- of ways of looking at the
25 data and possible bottom line estimates that you could

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 come up with.

2 DR. WALLIS: I think it's very important--

3 MR. TREGONING: Depending on how you
4 decide to view this data.

5 MR. ABRAMSON: Depending on how you decide
6 to apply it, obviously.

7 MR. TREGONING: We'll talk about the most
8 fun thing. Everything's been a prelude to this so far
9 when we talk about differences and variability
10 uncertainty and what happens when you look at
11 different ways of aggregating the --

12 CHAIRMAN APOSTOLAKIS: No, no. Let's come
13 back to this, because it's really important.

14 MR. TREGONING: Come back to what?

15 CHAIRMAN APOSTOLAKIS: To what we were
16 just discussing.

17 MR. TREGONING: Okay.

18 CHAIRMAN APOSTOLAKIS: I mean, the reason
19 why it's called executive summary is because
20 presumably the executives read that. And all you're
21 presenting there is the pressure break -- the BWR and
22 PWR baseline results. I don't see figures -- the
23 figures from page H-29. I don't see the figure from
24 page H-24.

25 Surely you're not expecting the decision

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 maker to go back to Appendix H --

2 MR. ABRAMSON: Section H.

3 CHAIRMAN APOSTOLAKIS: Section H to
4 interpret what you give them in the executive summary.
5 The executive summary should be the bottom line,
6 should it not?

7 MR. ABRAMSON: I would suggest that this
8 input is not for the decision maker, but for NRR. In
9 other words, for the regulatory arm of the NRC to use.
10 Because this is intended as input to the proposed rule
11 and so on to the proposed regulation.

12 CHAIRMAN APOSTOLAKIS: Yes. Yes.

13 MR. ABRAMSON: And I think it really --
14 you're talking about, I believe, what should be I
15 think a document which says take this and here is our
16 regulatory philosophy and so. And this is what we use
17 from this document as the basis for our proposed rule.

18 DR. WALLIS: Then you should with H-21 or
19 something like in the executive summary, too. You
20 should explain that there are at least two ways to
21 look at this. This is the base case. This is our best
22 estimate of how it should be looked at. And it's
23 figure H-21 or whatever it is.

24 MR. ABRAMSON: What you're suggesting is
25 that the executive summary should reflect the large

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 uncertainty and diversity of opinion.

2 CHAIRMAN APOSTOLAKIS: Yes, of course.

3 Yes. Yes.

4 MR. ABRAMSON: Rather than just putting
5 out something --

6 CHAIRMAN APOSTOLAKIS: Right.

7 MR. ABRAMSON: -- and saying this is our--
8 this is what we call our baseline results.

9 MR. TREGONING: We certainly say that in
10 the executive summary, but I think what I'm hearing is
11 they'd really like to see the curves themselves as
12 well.

13 CHAIRMAN APOSTOLAKIS: Right.

14 MR. TREGONING: And that's -- you know --

15 CHAIRMAN APOSTOLAKIS: Well, I mean, Dr.
16 Denning just said that the figure on H-24 gave a very
17 different impression of what is going on. The
18 uncertainties are skewed and so on. And I don't see
19 that in the executive summary.

20 Anyway, let's go on now.

21 Remember now, we have to finish by 11:00.

22 MR. TREGONING: Right. Can we stop the
23 clock?

24 So let me try to go to slide 26, if I can.

25 This is about aggregating expert opinion. And we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 talked a little bit about this. The baseline method
2 uses the geometric mean of the individual panelist
3 estimates to give group estimates for all the total
4 LOCA frequency parameters, and by parameters the 5th,
5 50th, 95th percentiles and then the mean estimates.

6 This methodology was based on the not only
7 assumed, but also the structure of the individual
8 elicitation responses do support a log normal
9 structure. So the fact that the individual estimates
10 were distributed essentially log normally. This
11 baseline method assumes the estimates aren't
12 significantly influenced by outliers. And the results
13 that you could use other measures of central group
14 opinion, either using the median or the trend
15 geometric mean, if you look at the NUREG, you end up
16 with those selections to get very similar estimates as
17 you do with just the geometric mean themselves.

18 However, an alternative method is instead
19 of the baseline method, is to use or use an arithmetic
20 mean of all the individual panelist distribution and
21 create essentially what's called a mixture
22 distribution.

23 And it's a different philosophical
24 principle and a different viewpoint for aggregating
25 the expert opinion. You're essentially making the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 assumption that the individual results are all
2 obtained from equally credible models that are
3 randomly picked from the population of expert. If you
4 make that assumption, then the mixture distribution
5 falls naturally.

6 And a point to be made here, though, is
7 some of the key regulatory parameters may be dominated
8 by the outlier. And one of the things that you see is
9 certainly the difference between the 5th and 95th
10 percentiles that I showed earlier and the 5th and 95th
11 for this mixture distribution. The mixture
12 distribution percentiles are much wider.

13 DR. WALLIS: Would it be true to say that
14 this would be sort of explain to the public in saying
15 that each of the experts could be equally right?

16 MR. TREGONING: Each of the --

17 CHAIRMAN APOSTOLAKIS: In both cases, the
18 experts get equal weights.

19 MR. TREGONING: There's an assumption here
20 or there's a nuisance here in that how you assign --
21 how you consider them being equally right various on
22 your philosophy. I mean, if you assume that they're
23 equally right in log space and you weight the opinions
24 so that one opinion doesn't dominate, that might lead
25 to the baseline --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: Then you're downgrading that
2 one, yes.

3 MR. TREGONING: If you assume that they
4 all have equally credible models, models not opinions,
5 but models then that might lead you to this other
6 methods.

7 It's a suitable yet it's an important
8 philosophical distinction between these two different
9 ways of aggregating the expert opinion.

10 DR. WALLIS: I want you to be
11 conservative, you say you've got ten experts.

12 MR. TREGONING: Right.

13 DR. WALLIS: And two of us say that you
14 should be up here and eight of us say you should be
15 down here.

16 MR. TREGONING: Right.

17 DR. WALLIS: To be careful, we'll say
18 maybe those guys are right.

19 MR. TREGONING: And that's the mixture
20 distribution. Yes.

21 MR. ABRAMSON: I think again it's kind of
22 a red herring in this context to talk about what's
23 right and what's wrong. The purpose of this is an
24 expert elicitation. And there's an unstated assumption
25 in this that this is a worthwhile activity. And if

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it's worthwhile, it means that you need to go to the--
2 you have to aggregate in such a way as to respect the
3 philosophy of expert elicitation, which means you need
4 to be near the center of the group.

5 Now, this is just a summary of their
6 opinion. Whether it's a useful summary for regulatory
7 purposes and so on, is another issue. And then if you
8 want to build conservatism and so on and so forth, by
9 all means do so. But it's separate from this, what
10 we're trying to report on here.

11 CHAIRMAN APOSTOLAKIS: But the objective,
12 I think, of an exercise like this is to show what the
13 community of experts think they know about this issue.
14 Is that correct?

15 MR. ABRAMSON: Well, that's one way to
16 look at it.

17 CHAIRMAN APOSTOLAKIS: Well, that's the
18 way in my view. I mean --

19 MR. ABRAMSON: We had a panel of 12. We
20 had 12 representatives of this community in there.

21 CHAIRMAN APOSTOLAKIS: Yes. Yes.

22 MR. ABRAMSON: We did not explicitly ask
23 them to try to judge what the community as a whole, we
24 asked them for their opinions.

25 CHAIRMAN APOSTOLAKIS: And why not?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ABRAMSON: This was -- well, why not?
2 Well, I can give you my personal answer.

3 MR. TREGONING: We got to end by 11:00.

4 MR. ABRAMSON: Yes, we got to end. And I
5 think it's difficult enough for them to come up with
6 their own, with what they think in their own minds
7 rather than to think what the community is thinking,
8 which is another level of abstraction.

9 MR. BONACA: Could I make a point on this
10 question? I have a question on the sensitivity
11 analysis that I need to place at some point in this.

12 What I was looking for is, you know, in
13 the elicitation process there are assumptions being
14 made and stated by the experts which is actually
15 things may improve because the safety culture may
16 improve and also that, you know, ISI will continue the
17 same way. There will be litigation, etcetera,
18 etcetera. Well, however, I believe that there is a
19 rule here that we'll have a transition break size and
20 what will happen is beyond transition break size there
21 is going to be relaxation of the environment. There is
22 going to be relaxation of the environment stating that
23 they realized that they may use 50.69 to do less
24 inspections, less modification and so on and so forth
25 for those kind of issues.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Have they looked at all -- I mean, I
2 didn't see anywhere consideration of the potential
3 impact of this rule on the fundamental assumptions of
4 this studies, which were essentially that things were
5 going to be -- you know, and we will have mitigating
6 strategies and so on and so forth.

7 I just had to ask that question, and I
8 don't know that if there is an answer to that. But I
9 would need to address that.

10 MR. TREGONING: No, and we specifically
11 asked them not to because if the elicitation were
12 going to focus on that, we didn't know at the time and
13 we still don't know how this rule's going to develop.

14 MR. BONACA: I understand.

15 MR. TREGONING: What specific -- and
16 that's why we make it clear very clear in the
17 elicitation that if you do things -- and here's how,
18 at least programmatically I expect that we're going to
19 handle this. If you do things in the regulatory space
20 with respect to this rule, it causes -- you know, it
21 undermines this elicitation, then yes, it could rain
22 these frequencies muted that way. And the example I
23 like to give is with it operates it BWRs.

24 Okay. When they started power-up rates to
25 BWRs, you started seeing more vibration failures than

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you had in the past. Well, this is why at least as we
2 go forward with this rule, we're evaluating the
3 precursor histories quantitatively as we go along.
4 You can see things that are resulting in increases due
5 to the various --

6 MR. BONACA: I guess we will have an
7 opportunity to raise those questions at the full
8 meeting.

9 MR. TREGONING: Yes.

10 MR. BONACA: We have a second meeting on
11 the 50.46. On the other hand, I mean, to me it's a
12 fundamental issue because --

13 CHAIRMAN APOSTOLAKIS: Yes, of course it
14 is.

15 MR. BONACA: -- here you would go, we
16 support this based on separate assumptions that may
17 not be in fact consequences or the change of 50.46.
18 And 50.46 might take us to a different environment, in
19 fact the statement has been made it'll be the
20 relaxation that degrades the very assumptions --

21 CHAIRMAN APOSTOLAKIS: As a matter of
22 fact, I believe in the report it says someplace that
23 the expert assume -- the experts assume that the
24 programs that we have in place now to control aging
25 mechanisms will remain in place.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BONACA: Yes.

2 CHAIRMAN APOSTOLAKIS: So we need 50.46
3 revision to relax some of those, right?

4 MR. BONACA: But I think we have to make
5 a distinction. --

6 MR. TREGONING: You have to make
7 distinction.

8 MR. BONACA: Just as whole to really
9 highlight it.

10 CHAIRMAN APOSTOLAKIS: Absolutely.
11 Absolutely. Again, to write the rules.

12 MR. TREGONING: And again, it's not that
13 you can't do relaxation. It's that you have to be
14 vigilant and take great care that your relaxation
15 doesn't effect the LOCA frequencies in some way.
16 That's a different question. That doesn't mean that
17 you can't relax. And taking an accumulator out may or
18 may not effect LOCA frequency.

19 MR. BONACA: But, you see, I understand
20 you're defending what you've done. But, you know, you
21 have created a weapon here, okay. Potentially
22 something here that could be used negatively, okay, or
23 positively. And so we have to understand the
24 implications of it. And I'm saying that, you know,
25 there has to be recognition on our part --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TREGONING: Of course.

2 MR. BONACA: -- a communication that there
3 can be deleterious effects coming from --

4 MR. TREGONING: Any set of data, any model
5 has the same caveats that have to be understood.
6 There's no difference, probably more so here. And
7 that's why we try to spell those out quite explicitly.
8 I think we -- we must have done a pretty good job of
9 that because there's no much concern amongst the panel
10 members.

11 CHAIRMAN APOSTOLAKIS: Could you then when
12 you revise the report emphasize this stuff when you
13 say that the expert opinion -- that all the problems
14 we have now remain in place -- if the rule decides to
15 change, though, this is not part of the expert --

16 MR. TREGONING: The intent was certainly
17 to emphasize it.

18 CHAIRMAN APOSTOLAKIS: I remember, though,
19 there is something about the expert --

20 MR. TREGONING: But even in the executive
21 summary --

22 CHAIRMAN APOSTOLAKIS: I don't remember
23 anything about --

24 MR. DENNING: Could we look some more at
25 this arithmetic mean versus geometric mean. I'd like

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to get the feeling here of the Committee, because I
2 mean I would think that -- and I'm not going to
3 strongly argue with the arithmetic means better than
4 geometric mean, but just the fact that it such a
5 substantial difference for the results.

6 CHAIRMAN APOSTOLAKIS: Show the next
7 slide, yes.

8 MR. DENNING: I think that we ought to be
9 shown. I mean, you know this I think has to be up in
10 the executive summary with the other results, I think.
11 Now whether the other committee members think that or
12 not, I don't know.

13 MR. TREGONING: Right. Right. Well, again,
14 it's certainly -- the intent is not to suppress it and
15 that's why it's in the report. You can see here with
16 these curves, these just -- there's no plain old
17 variability. These are essentially just the best
18 estimate mean curve, so to speak, aggregated in
19 different ways.

20 The blue curve are the results that we had
21 seen using the geometric mean aggregation. The red
22 curve represents aggregating using the arithmetic
23 mean. And it shows, again, the way you aggregate can
24 significantly effect the frequency.

25 DR. WALLIS: Well, it makes a different.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 You've changed your local category by one. If you
2 changed it -- for an order of magnitude, local
3 frequency --

4 MR. TREGONING: Or more. I mean the
5 biggest difference is with the BWR frequencies.

6 DR. WALLIS: Right.

7 MR. TREGONING: The differences between
8 category two, three and four LOCAs. I don't show the
9 95th percentile, but the differences are roughly at
10 the same order of magnitude.

11 And I've just quantified them here. Okay.
12 So all this table shows is a ratio of the mixture
13 distribution results compared to the geometric mean
14 aggregation for both the mean and the 95 percentile.
15 Of course, the mixture distribution will always lead
16 to higher means. That much we know. So they're
17 always higher. Increases are generally less than a
18 factor of ten with a few notable exceptions. And they
19 really stand out, it's PWR LOCA categories 5 and 6,
20 which are the biggest LOCAs. And then the BWR LOCA
21 categories 3 and 4.

22 What you find when you go in and look at
23 those results, not surprisingly, is that when the
24 differences are biggest between these two different
25 aggregation schemes, it's a reflection that you have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 one -- usually one, sometimes two panelists that are
2 significantly higher than the rest of the group.

3 Okay. These BWR frequencies are driven
4 essentially by one panelist in terms of the arithmetic
5 mean. Especially the LOCA categories 2, 3, and 4. So
6 that's important to understand that.

7 The same thing with LOCA categories 5 and
8 6 for PWR. There's one or two panelists, I think two
9 panelists there, that end up being the prime
10 contributors to the arithmetic mean result in the
11 sense that their distributions of the mean are most
12 reflective of these communal -- of these aggregated
13 distribution of the mean.

14 MR. FORD: How does the expertise of one
15 of these -- well, of all of these experts -- into
16 this? The reason I bring it up, is if you look at the
17 members of the panel, there's really one -- expert,
18 all the rest are mechanical engineers.

19 MR. TREGONING: And maybe the experts knew
20 while their specialty is not --

21 MR. FORD: I recognize that. But for
22 instance, coming back to my specific comments earlier
23 on, the environmental chemistry contents to this
24 analysis are obviously pretty important.

25 MR. TREGONING: Of course.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. FORD: And yet in my opinion there's
2 really one of those panelist understand the nuances of
3 for instance presence of salt that could be -- it will
4 change at times. In fact, this is mentioned in the
5 report. But I'll bet you that only one of those
6 panelists knew about that.

7 MR. TREGONING: No. Because again the
8 concerns that were raised, especially the concerns
9 that were raised in the report, those were raised to
10 the entire panel and some of the differences that you
11 can get.

12 I can tell you that those concerns are not
13 the reason for the high estimates in the arithmetic
14 mean.

15 MR. FORD: Okay. Well, was that the
16 reason why I brought that --

17 MR. TREGONING: Yes. Well, that I can tell
18 you for a fact. And again, the arithmetic mean
19 relates -- once you decide to use a mixture
20 distribution, you can drive yourself nuts by trying to
21 see well are people outliers, are they not outliers,
22 should I weight people differently. You can really
23 get yourself spun around developing different schemes
24 potentially for either including or ignoring the
25 outlier results.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. FORD: Not I seem to remember,
2 somebody, but it was mentioned in the report some
3 panelists recused themselves from some decision
4 because of lack of knowledge.

5 MR. TREGONING: Yes, of course.

6 MR. FORD: How does that affect this
7 arithmetic --

8 MR. TREGONING: If we didn't get
9 estimates, they're not included.

10 MR. FORD: Yes. But the population is
11 that much stronger --

12 MR. TREGONING: Well, we had 12 panel
13 members. Nine panelists gave us PWR estimates. Eight
14 gave us BWR estimates. For an elicitation that's a
15 pretty good sample, actually. So multiple gave us
16 both, and at least -- there was one expert that we
17 didn't get any quantitative information from, only on
18 safety culture. On some of the safety culture
19 questions, but not on anything else. And then we had
20 several panelists that either gave us PWR and BWR
21 estimates based on their experience and expertise.

22 So, no, we did ask them to self censor or
23 recuse themselves in areas that they just didn't have
24 the background and the knowledge.

25 CHAIRMAN APOSTOLAKIS: But I'd like to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 emphasize again that there is nothing mathematically
2 rigorous about aggregating using -- I mean, geometric
3 and arithmetic means. There are outcrop methods. But
4 the thought just occurred to me at the beginning you
5 gentlemen said that the method you followed was pretty
6 much NUREG 11.50 or expert opinion. And NUREG 11.50
7 didn't use either of these methods. They took the
8 distribution from each expert and then they added one
9 to each X, they went back. They took the arithmetic
10 average of the --

11 MR. TREGONING: That's the mixture
12 distribution.

13 CHAIRMAN APOSTOLAKIS: Is that the mixture
14 the same here?

15 MR. TREGONING: Yes. The same thing as
16 the mixture distribution.

17 CHAIRMAN APOSTOLAKIS: So when you say
18 arithmetic average, you don't mean that to go to the
19 95th percentiles and take the arithmetic average --

20 MR. TREGONING: No, we did. We did --

21 CHAIRMAN APOSTOLAKIS: Well, that's what's
22 confusing.

23 MR. TREGONING: We did both. What I'm
24 presenting here are the mixture distributions.

25 CHAIRMAN APOSTOLAKIS: Okay. So that's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 NUREG 11.50.

2 MR. TREGONING: It's a straight NUREG
3 11.50.

4 CHAIRMAN APOSTOLAKIS: So there is --
5 well, I mean, when you go with the geometric mean, you
6 work with each person --

7 MR. TREGONING: That's right.

8 CHAIRMAN APOSTOLAKIS: But the mixture
9 means that distributions themselves?

10 MR. TREGONING: No. It ends up if we did
11 the -- if we did the arithmetic means of averagings of
12 the percentiles, the 95th arithmetic means being ends
13 up being pretty close to the mixture distribution 95th
14 percentile. The means, of course, are identical.

15 CHAIRMAN APOSTOLAKIS: Right.

16 MR. TREGONING: It's only the lower
17 distribution that, of course when you get an
18 arithmetic mean of the 95th percentile, it's rated by
19 the highest 5th. But the mixture distribution is
20 rated by the low method. So the 5th percentile varies
21 dramatically --

22 CHAIRMAN APOSTOLAKIS: You see this is
23 another example now of what I was saying earlier. I
24 remember the guy who was a -- arguing very forcefully
25 that taking the arithmetic average in the sense we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 just discussed was, you know, very reasonable and this
2 is really what we ought to be doing. Now you guys
3 come a few years later and you say here regulatory
4 parameters may be dominated by outliers and you are
5 sort of rejecting that method.

6 MR. TREGONING: No. I would suggest that
7 the argument of 11.50, whatever it is, did not take
8 proper account of the fact that this is expert
9 elicitation. I think the key element in my judgment
10 is never to forget that this comes out of an expert
11 elicitation. And if you're going to use an expert
12 elicitation, I think it seems to me you are required--
13 and the philosophy of it is to take the center of the
14 group, not an outlier. Because if you don't, then
15 you're not going to get agreement with the group. And
16 the center is, if you like the median, we didn't use
17 that although we did that for some of our initial
18 calculations we gave. But the geometric mean is a very
19 good approximation numerically --

20 DR. WALLIS: There is ad hoc, there's no
21 theory of expert elicitation, there's no history of --

22 MR. TREGONING: No, there's no real theory
23 of it. No. And also should I point the results we
24 get are much broader in range to the one two.
25 Sometimes three orders of magnitude that you would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have in most expert elicitation as far as the
2 uncertainty is concerned. So in this sense there
3 really isn't very much precedent to draw on as far as
4 being able to aggregate this. We do have some
5 information, and we haven't had a chance to get to
6 this yet, about the review we did, the external
7 review. We had a decision analyst, we had a
8 statistician, two people are doing it. And there's
9 some evidence, the decision analyst basically I think
10 agreed to --

11 DR. WALLIS: How do you bring this in to
12 help the public? And the public would view it. And
13 if you had a lot of experts and terrific disagreement,
14 then the public attitude would be very different from
15 what you've done here, I think. They'd say we don't
16 believe any of those expert people. We'd be very
17 careful.

18 MR. TREGONING: Well, this is a very
19 difficult area --

20 DR. WALLIS: They wouldn't look for the
21 mean.

22 MR. TREGONING: We're talking about this
23 process of expert elicitation, which is relatively new
24 and, you know, it's a very, you know, difficult thing
25 to accept. And I think for the experts themselves I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 thought we had to do, you know, in a way a selling job
2 or at least to explain to them and try to get buy-in
3 from the experts into the whole expert elicitation
4 process itself. And a lot of this, that we had
5 training questions and so on and so forth. And at the
6 end I think we did get reasonable buy-in and agreement
7 that the whole -- and we did ask them very explicitly
8 on feedback meeting how do you feel about this whole
9 process, having gone through it. And I think there
10 was general agreement that, yes, it was a valuable
11 process. And we didn't ask them the same question at
12 the beginning, but I think if we had asked them right
13 at the beginning how do you think this, you going to
14 buy-in, I think we would have gotten very different
15 results.

16 You have to have gone through it. You
17 know, George, people who have gone through this, it's
18 a process. And you have to see, you know, this will
19 lead to reasonable results, so to speak, does it
20 really reflect the opinion of the group and so on and
21 so forth. And that's really what we're trying to do
22 here. This is a very difficult thing to do.

23 CHAIRMAN APOSTOLAKIS: There is only 14
24 minutes left.

25 MR. TREGONING: I know.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: You have to choose
2 your messages from now on very carefully.

3 Dick, did you have a question?

4 MR. DENNING: I have a quick question.
5 What evidence is there that the NUREG represents a
6 consensus among the experts?

7 MR. TREGONING: Well, again like Lee had
8 said, the philosophy of the elicitation was to come up
9 with central estimates and group opinion.

10 MR. DENNING: Have they reviewed the
11 NUREG?

12 MR. TREGONING: Yes. When you say
13 choosing your message, I want to go to the next few
14 slides. Sorry to do that.

15 Okay. I'm going to jump to slide 31
16 really quickly. And then I want to talk -- there are
17 two different reviews we've given. There's a review
18 of the elicitation panelist themselves and then
19 there's also a review that were done by external
20 reviewers that had no a priori knowledge of the
21 elicitation structure result until we brought them in.
22 So as I mentioned, there's a preliminary version on
23 slide 31 that was distributed to the panel in July.
24 We did a video teleconference over about a two day
25 period with all the panel members where we sent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 through every point, section of the NUREG as well as
2 the results. And we had a number of, I felt, very good
3 revision suggestions that came out of that.

4 And the NUREG that you have has been
5 modified significantly compared to what was first
6 distributed in July. So, again, and we had
7 suggestions generally in areas on the backgrounds, the
8 approach, the base case results, the analysis, the
9 qualitative insights and then the quantitative result
10 section. And the point to make is most or just about
11 all except of these 50, maybe one or two, we didn't
12 incorporate for various reasons. But all of these
13 revision suggestions were reflected in the version of
14 the NUREG that you all have.

15 This updated version that you have has
16 also been circulated a second time to the peer
17 reviewers for comments. And we've gotten only a very
18 little --

19 MR. SHACK: To the panelists?

20 MR. TREGONING: I'm sorry, the panelists.
21 To the panelists. And we've only gotten a few
22 additional relatively minor comments. I think they
23 had it about a month ago.

24 CHAIRMAN APOSTOLAKIS: Okay.

25 MR. TREGONING: So we've done one level of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 review there.

2 The next slide, we did a level of external
3 review as well. We had two reviewers who selected,
4 again a decision analyst as Lee mentioned, and a
5 statistician. And we really asked them to focus on
6 the analysis of the expert results and the
7 quantitative result section of the NUREG. And we
8 wanted them to emphasize the methods and really
9 examine the methods that we used for aggregated group
10 opinion, because we obviously knew it had such great
11 importance.

12 So, again, we asked them to focus on these
13 areas because they're most important. We also asked
14 them if they wanted to comment on other NUREG
15 sections, but we wanted to focus the external
16 reviewers on the analysis and the processing of the
17 result.

18 Just quickly with approach. They had the
19 same preliminary draft NUREG that the panelists had in
20 early July. They reviewed this for about a month.
21 And we had a two day kick off meeting in August after
22 they had read the report, and in many cases already
23 had an initial set of questions that we had to answer
24 for them.

25 But we had the kick up meeting and we were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 all well up to speed as to what was in the report and
2 what was done.

3 We got some informal comments, not only at
4 that meeting, but then also a week or so later from
5 the external reviewers. And we got reports from both
6 of them in mid September. We had a wrap up meeting to
7 discuss these review reports at the end of September.
8 And after that time we've asked them to finalize their
9 external review reports.

10 I've got one of the two are finalized.
11 The other one's not quite finalized, which is why I've
12 got November of '04 for finishing that effort.

13 We referenced the review reports in the
14 NUREG and we are going to certainly be making it
15 publicly available after they're finalized.

16 I wanted to jump to selected conclusions
17 from the external reviewers. Again, our one decision
18 analyst, and he was the only one -- we didn't ask him
19 to do this but he felt compelled to do it anyway, but
20 he thought or thinks that the elicitation process is
21 adequate and sound for determining or for meeting the
22 stated objectives --

23 CHAIRMAN APOSTOLAKIS: Can you tell us
24 whether the objectives are stated in the report? I'm
25 sure they are somewhere, but I --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. TREGONING: The objective and scope
2 sentence section of the NUREG.

3 CHAIRMAN APOSTOLAKIS: Which section?

4 MR. TREGONING: Section C.

5 MR. SHACK: Section C-1.

6 MR. TREGONING: Objectives and scope.

7 CHAIRMAN APOSTOLAKIS: All right.

8 MR. TREGONING: The reviewers concurred
9 with many specific aspects of the analysis procedure.
10 I think they both really liked the relative ratio
11 structure that we developed to examine technical
12 issues. In fact, the decision analyst thought that
13 this was a model way to conduct these types of
14 elicitation. And he also expressed that using this
15 relative ratio structure, there's some evidence to
16 suggest that this may help compensate for what tends
17 to be overconfidence in other elicitation studies. So
18 it's a way for potentially to minimize that, although
19 again that's just an opinion.

20 They both agreed that the overconfidence
21 correction using the error factor approach was
22 appropriate.

23 They didn't like any of the other
24 overconfidence adjustment schemes because they just
25 felt like they were too ad hoc and severe.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We had a number of corrections that were
2 suggested by the reviewers that we've incorporated in
3 the NUREG, things from developing improved correlation
4 structure bounds. We had a whole new section on
5 evaluating the effect of distribution shape on the
6 mean. We were using approximate formulas to calculate
7 means. Now we're using exact formulas. It doesn't
8 matter much, but for what it's worth they're exact
9 formulas.

10 And in the interim we conducted a number
11 of Monte Carlo simulations to look at the effect of
12 not only the correlation structure, but also verify
13 the approximate calculation procedure that we use to
14 develop the final LOCA estimates.

15 We had way too many estimates to
16 rigorously do all the simulations by Monte Carlo. So
17 we had to take just a subset for checking. And we did
18 that, there's a discussion of that not in your NUREG
19 report, but this is a new section that we've added to
20 reflect the latest. This is the last sensitivity
21 analysis we did.

22 CHAIRMAN APOSTOLAKIS: Okay. Will we have
23 these additions before the December meeting?

24 MR. TREGONING: Yes. Yes. Yes. They're
25 almost in now.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Again, we had a lot of discussion and we
2 developed a mixture distribution and aggregation team
3 as a result of this review. And, again, there were
4 numerous suggestions for clarifying exposition.

5 Continued on the next slide selection
6 conclusion. You know, we've gone to the heart of this
7 today and I think we've also, some of the stalemate
8 that I'm sensing amongst you also exists, I'll say
9 internally with the staff and also with the peer
10 reviewers themselves in that there was no agreement
11 reached on what was the most appropriate aggregation
12 scheme.

13 One reviewer favored either geometric or
14 the arithmetic mean, or the mixture distribution
15 approach. But they did state some advantages and
16 disadvantages of -- and I've only listed the geometric
17 mean approach here because of the advantages of this
18 approach or disadvantages of the mixture distribution
19 approach and vice versa. So I only showed advantages
20 and disadvantages of the geometric mean aggregation
21 approach, which is our baseline method.

22 The advantages are that the group
23 estimates are more acceptable to the panel. And,
24 again, we got some feedback from this in the video
25 teleconference when we presented both the baseline

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 method and the arithmetic mean aggregation schemes.
2 But this technique may be, and probably is, most
3 appropriate for low frequency events where the
4 variability among panelists could span several order
5 of magnitude, and that's certainly what we're dealing
6 with here. And you have another advantage is that the
7 results are not dominated by one or two outliers.

8 The disadvantages of the baseline approach
9 is that you do end up with less conservative mean and
10 95th percentile estimates compared with the mixture
11 distribution. And also the 5th and 95th percentile
12 differences are not quite as wide as you get for the
13 mixture distribution. Although when you factor in the
14 5th and the 95th with appropriate confidence bounds,
15 you actually end with similar. You know, if you use
16 the 5th with the 5 confidence bound and the 95th with
17 the 95 confidence bound you get ranges which are
18 actually pretty similar.

19 Again, the authors and, you know, we make
20 no bones about it because we've been trying -- the
21 stated objective all along was to come up with a
22 central group opinion. We strongly favor the use of
23 the baseline method to meet that stated objective.
24 And some panelists also were very strongly in favor of
25 that. So strongly that, you know, we had a lot of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 input, there was concern that NRC was going to take
2 and bias their results accordingly by not fully
3 weighting them.

4 And a number of the panelists I said, you
5 know, their opinions were so strong that I had just
6 said that you need to see the report when it comes
7 out. And if you feel that strongly, make sure that you
8 comment during the public comment period.

9 CHAIRMAN APOSTOLAKIS: Okay. I really
10 would like to go around the table here, so unless
11 somebody has a very important question to ask of the
12 staff, I suggest we start doing that.

13 Do any members feel that they have
14 questions for the staff or shall we go around the
15 table?

16 DR. WALLIS: I think the staff did a good
17 job.

18 CHAIRMAN APOSTOLAKIS: Good. Well, thank
19 you gentlemen. I think it was very lively discussion.

20 I'd like to go around the table to get the
21 first impression that you guys have about this. Shall
22 we start with Jack or Bill?

23 MR. SHACK: I think they did a good job.
24 I kind of agree with the notion of using the geometric
25 mean aggregation. It seems to me that since we don't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 know the truth, somehow giving everybody's opinion
2 some kind of comparable weight. I mean, in this case
3 with an arithmetic average, you know, you're going to
4 be dominated by the most conservative -- I mean, these
5 things differ by orders of magnitude. It comes down
6 to, you know, just sort of a sampling there.

7 I, by and large, think their results are
8 weighted to the conservative side, so you know I
9 think--

10 MR. TREGONING: Even with the geometric?

11 MR. SHACK: Even with the geometric,
12 because your panelist I think will, by in large, using
13 what I would consider conservative approximation. So
14 your baseline methods are weighted conservatively. So
15 I'm fairly comfortable with the results.

16 CHAIRMAN APOSTOLAKIS: That's it?

17 MR. SHACK: Yes.

18 CHAIRMAN APOSTOLAKIS: Okay.

19 MR. FORD: Like Bill, I'm very -- I think
20 it was a very comprehensive report. I wish I had had
21 more time to look at it in more detail.

22 I'm concerned the make up of the panel.
23 It is a multi-op problem. It does involve chemistry,
24 stress and that fully -- was that the make up of the
25 panel.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And the other concern I have is I'm really
2 concerned about a worse case scenario here. And I
3 think it should be therefore much more plant specific
4 to look at situation -- for instance, Davis-Bessie --

5 CHAIRMAN APOSTOLAKIS: What is your
6 concern about the worst case scenario?

7 MR. FORD: That, for instance, you could
8 have plants which are not implementing -- BWR plants
9 which are not implementing effectively how to do
10 chemistry, for instance, which would therefore effect
11 cracking frequencies and potentially LOCA frequencies.
12 But that's very plant specific and it's not all BWRs.

13 PWRs a question of whether they're using
14 appropriately replacement materials, etcetera,
15 etcetera.

16 CHAIRMAN APOSTOLAKIS: Okay. I
17 understand. Anything else?

18 MR. FORD: No. That's it. Thank you.

19 CHAIRMAN APOSTOLAKIS: Rich?

20 MR. DENNING: I think the expert
21 elicitation was done very well. I am concerned about
22 the application and the treatment of aggregation and
23 I disagree with Lee with regards to what the purpose
24 of this is. I don't think it's real to come up with a
25 consensus of judgment. I think it's to try to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 characterize the state of knowledge that we have. And
2 since you really can't get into weighting the
3 different experts, I think that you have to -- I think
4 that you at least have to show the arithmetic average.
5 And I think it's really better the average myself
6 anyway.

7 And I think that when we look at the
8 potential applications of this, we have to be very
9 careful to show the broad uncertainty that exists
10 here. And I think that the way that the baseline
11 treatment has been done, I think it really
12 dramatically under characterizes what the true
13 uncertainty is.

14 Now, where reality is, like Bill, I think
15 it probably is down lower. But I think that there are
16 lots of elements of the uncertainty that are minimized
17 in the treatment here. I think the variability across
18 plants is extremely important, difficult to deal with
19 and maybe can't be dealt with directly there, but I
20 think that it has to be recognized clearly what the
21 limitations are.

22 Just because we've done a good expert
23 elicitation doesn't mean that it's going to have
24 direct applicability to regulation. I think it will.
25 But I think that -- I completely disagree with the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 statement here that says the advantage you should
2 geometric mean aggregation when you have low frequency
3 events with these very broad variabilities. Because I
4 think what you're doing is you're again minimizing the
5 real uncertainty that exists in our knowledge base.

6 CHAIRMAN APOSTOLAKIS: Thank you.

7 Mario?

8 MR. BONACA: Well, first of all, I would
9 like to say I think it was a good effort. I have the
10 same concern that has just been expressed here
11 regarding the uncertainty range and the variability
12 among plants. But that's, you know, that may be there.

13 I would like to address is from the
14 underpinnings of this study, they need to be
15 highlighted more in the executive report. I recognize
16 that, you know, you meet your goal. And I think it's
17 a good product. But in the executive report is it
18 fundamental that there is a clear understanding in the
19 message that there were limitations, active failures,
20 component were not included. Seismic considerations
21 have not been addressed in the report yet. And most
22 of all the feedback mechanism that the development of
23 the rule may create in the sense that if there is a
24 relaxation of -- I mean, the underpinning was that
25 things would continue to be as good or better in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 future as far as inspection, testing and so forth and
2 so on. And that if in fact that changes, there is a
3 significant effect. I mean, of what you have
4 represented in the report when I read it over shows a
5 significant sensitivity to that. So it's a question
6 more of the communication part. I think it's
7 important the executive summary contains that
8 information there.

9 CHAIRMAN APOSTOLAKIS: Tom?

10 MR. KRESS: I think as far as the expert
11 elicitation process and the way they went about it, I
12 think they did about as good a job as could be done.

13 With respect to the choice of arithmetic
14 mean versus geometric mean, as I've said before, for
15 the purpose 50.46 I don't care which one they use.
16 But, in general for possible other uses of this
17 distribution, I would prefer the arithmetic mean
18 because we don't how to provide weights to the given
19 experts. And I think that does a better job of
20 reflecting the consensus.

21 So, you know, for 50.46 I don't care, but
22 there are other possible uses of this. I would rather
23 see arithmetic.

24 CHAIRMAN APOSTOLAKIS: Arithmetic is
25 11.50, right?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KRESS: Yes. I don't see any way the
2 end can get to their ability across plants, frankly.
3 So, you know, I don't fault them for not discussing
4 that very much, because I don't know they'd go about
5 doing it anyway.

6 I think the really nice thing about this
7 is they do have a quantified uncertainty that I think,
8 like Rich, represents uncertainty in the state of
9 knowledge. And that's a good thing to have. I think
10 you can make decisions with it.

11 And so I believe the curves they have in
12 the Appendix H, for example, are the decision making
13 curves and ought to be brought forward into the
14 executive summary.

15 That's it.

16 CHAIRMAN APOSTOLAKIS: Dick?

17 MR. RANSOM: Well, I feel the real change
18 benefits have been made unclear as far as I'm
19 concerned, so I feel a little uncomfortable with that.
20 But generally the results that the staff presented, I
21 think were a good result, sound of the elicitation
22 effort with the exception of there does seem to be a
23 need for a regulatory -- the summary include how
24 regulatory should actually use these data. And part
25 of that I think the degree of consensus among the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 experts is important, especially if this is the public
2 that's to believe what they thought of all this. And
3 I personally would feel more comfortable, I guess,
4 with the more conservative arithmetic mixing of the
5 data.

6 CHAIRMAN APOSTOLAKIS: Thank you.

7 MR. SIEBER: Okay. I'll be very brief. I
8 agree, and I guess it's unanimous that a good job has
9 been done by the staff.

10 One of the things that impresses me is the
11 amount of work that goes into try to figure out how to
12 statistical present the information when the basic
13 information comes out of one's imagination, so to
14 speak. And so we've very carefully arranged all this
15 information so that it makes sense. But I have an
16 uneasy feeling about the overall basis that's there.
17 And that's okay, I guess.

18 I was struck by the fact that it seems to
19 me like you're trying to assemble LOCA frequency data
20 for an average plant from a regulatory standpoint is
21 the worst plant that makes a difference, which makes
22 the idea of safety culture -- you know, you're only
23 going to have one big LOCA in this industry. You
24 know, and then the industry goes away. So that makes
25 the safety culture issue very important to me, because

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that is going to be the major factor in the initiating
2 event; either faulty inspections or lack of
3 inspections or tolerance of leaks. And I think we all
4 know how these things comes about.

5 One could say that it really doesn't make
6 a lot of difference in what the transitional break
7 size is or what the LOCA frequency is if all it's used
8 for is to fiddle with things like defense-in-depth and
9 single failure criteria, because the concept there is
10 that the plants are supposed to be able to tolerate
11 and mitigate any kind of a break other than a reactor
12 vessel break. And therefore, the risk doesn't change
13 a whole lot if the plant maintains the capability to
14 do all these functions.

15 On the other hand, once this is published,
16 who knows what bright young person will dream up to
17 use this data for. And so there may be regulatory
18 concepts that those of us around this table aren't
19 even dreaming about, but somebody will say now that we
20 have this, let's go do this. And the process of doing
21 that may take you into unchartered waters where this
22 expert elicitation may not be totally appropriate. So
23 I would put that caution in there.

24 I guess in summary I think the job is well
25 done, it's well documented. I think a lot of effort

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 went into it. I have faith in it, and so those would
2 be my comments.

3 MR. SNODDERLY: George, do you want to
4 make a couple of comments?

5 I just wanted to remind you that the full
6 Committee meeting is going to be on Thursday morning,
7 December 2nd, for half day. So right now the way the
8 schedule is set up is from 8:35 to 10:00 a.m. we would
9 be briefed on the expert elicitation. And then from
10 10:15 to 11:45 we would be briefed by NRR on the
11 proposed rule, which would include the statement of
12 considerations and the regulatory analysis.

13 Now, the point that I wanted to bring or
14 the feedback I think that I would like to try to get
15 to the staff or the recommendation I want to make to
16 you is that there appears to be disconnect. Because
17 we remember from our previous presentation from NRR,
18 they said the way they -- it appears to me that
19 they're going to use this report is they're going to
20 say, well we looked at the distribution. I'm not sure
21 exactly which one, but they said we looked at -- the
22 mean was about a 5 inch break for a PWR and 8 inches
23 for the 95th percentile. And then we decided to
24 conservatively choose 14 inches. And so that's how
25 they addressed the uncertainty, and that is one

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 approach. And with that you're not -- an
2 understanding of the underlying uncertainties is not
3 as important. But now if you use the report as the
4 Commission SRM suggests, which is a mean value
5 corresponding to an initiating frequency of ten to the
6 minus fifth, well then now the report becomes -- and
7 the understanding of uncertainties is crucial.

8 So I think, and what I heard from Lee was,
9 well we're not going to tell them how to use that.
10 And so what I want to suggest that you consider when
11 we provide the staff feedback on how we do this
12 presentation, well first of all one concern I have is
13 -- and I know NRR on Tuesdays have their weekly
14 meeting and they're busy trying to get the proposed
15 rule together here. But it's a little discouraging
16 that there wasn't heavy NRR participation here today.
17 And I'll make sure that we feed this back to them, or
18 you know what we want to hear on Thursday.

19 I think the best advise that we can give
20 the Commission, I think what the Commission is going
21 to be looking for is okay, I've been given this --
22 I'll call it a tool, meaning this expert elicitation
23 and it's going to allow decision makers to decide
24 where this transition break size should be. To help.
25 Right. And if we use the criterion, I'm sure -- and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I'm assuming the Commission wants to the criteria they
2 suggested in their SRM, well here I think the
3 Committee should lay out what are some of the pitfalls
4 or what distribution do we think you should use, or
5 what further work needs to be done to give you a
6 distribution. Maybe it's a further consensus study.
7 But those are the things that we need to think about.

8 MR. BONACA: Lay out specifically today.
9 I mean, the issue how do you bridge from this report
10 to a transition break.

11 MR. SNODDERLY: Exactly.

12 MR. BONACA: You're covering the issues of
13 active component have not been addressed, seismicity
14 and the issue of what you do to these components
15 beyond transition break. Are you going to decrease
16 you inspection rate and so on and so forth. If you do
17 so, all the underpinnings of the study are weakened
18 and they're not there. So this is very important.

19 CHAIRMAN APOSTOLAKIS: It seems to me that
20 what Mike is saying is though the presentations on
21 December 2nd should be coordinated, right?

22 MR. SNODDERLY: Number one. And number two
23 I think I'd like to emphasize the Office of Research
24 to emphasize more to help us to try to identify those
25 pitfalls or an understanding of what distribution and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the problems you may have using those distributions
2 when you use the Commission's approach as opposed to
3 the staff's. I think the staff's approach is fairly
4 easily because I think we all feel fairly comfortable
5 that a 14 inch break for PWRs adequately balance the
6 uncertainties in the study. I'm not sure how I
7 consider the uncertainties when I use the mean value
8 corresponding to 10.56

9 CHAIRMAN APOSTOLAKIS: Right. No, coming
10 back to my earlier comment of that distribution, Mike
11 just reminded me. He said the staff looked at the
12 distribution and they said, okay, the 95th percentile
13 is 8 inches, we make it 14. Where is that information
14 that the staff, they based their choice of 8 on? Does
15 it come from your report or did they do something
16 else. You see, we have to have that.

17 MR. BONACA: We have to understand how
18 they read this report.

19 CHAIRMAN APOSTOLAKIS: Yes. Now the other
20 thing is --

21 MR. TREGONING: That's laid out in the
22 statement of considerations.

23 CHAIRMAN APOSTOLAKIS: Okay.

24 MR. TREGONING: And we focused today on
25 just the NUREG.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: I understand.

2 MR. SNODDERLY: We're trying to decide
3 here, I think, what do we really want to hear on.

4 CHAIRMAN APOSTOLAKIS: But the issue of
5 uncertainties it might raise for everybody else.

6 It seems tome that we feel more
7 comfortable the choice of 14, but when it comes to the
8 technical matter it's all a matter of how uncertain
9 are you about your results. The underpinnings that
10 Mario mentioned and everybody else, you know, had
11 various questions about the methods of this and that.
12 Why? Because I'm sure that the choice of 14 will be
13 challenged.

14 How did you decide to go from 8, 95th
15 percentile, to 14? That means that you don't have
16 much confidence in what the report says, not because
17 it's a bad report but because of other reasons that I
18 mentioned earlier, you know, and so on what's that
19 about and all that. So the issue of uncertainties and
20 the major assumptions, because these are really the
21 major uncertainties is critical no matter which way
22 you go. With the Commission choice, of course, it's
23 even more critical. But still, you know, the choice
24 of how much conservative defense-in-depth to impose
25 realize or rests on what kind of uncertainties you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have.

2 MR. BONACA: And that would say the
3 portions of the 50.46 portion of the elicitation
4 should be really this discussion of the bridge --

5 CHAIRMAN APOSTOLAKIS: Yes. Yes.

6 MR. BONACA: -- how we got from this report
7 to the recommendation.

8 CHAIRMAN APOSTOLAKIS: Very good.

9 We have another meeting coming up. So
10 thank you very much again, gentlemen.

11 So we take only 45 minutes then.

12 MR. SNODDERLY: No, we can always start
13 later. We can start that briefing at --

14 CHAIRMAN APOSTOLAKIS: We are the off the
15 record.

16 (Whereupon, at 11:13 a.m. the meeting was
17 adjourned.)

18

19

20

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

