

**Official Transcript of Proceedings**

**NUCLEAR REGULATORY  
COMMISSION**

Title: Meeting of the Subcommittee on Digital  
Instrumentation and Control Systems

Docket Number: Not provided

Location: Rockville, Maryland

Date: Tuesday, June 27, 2006

Work Order No.: NRC-1109

Pages 1-296

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

+ + + + +

MEETING OF THE SUBCOMMITTEE ON DIGITAL

INSTRUMENTATION AND CONTROL SYSTEMS

+ + + + +

TUESDAY,

JUNE 27, 2006

The subcommittee meeting convened at the Nuclear Regulatory Commission, Two White Flint North, Room T-2B3, 11545 Rockville Pike, Rockville, Maryland, at 8:30 a.m., George E. Apostolakis, Chair, presiding.

SUBCOMMITTEE MEMBERS PRESENT:

- GEORGE E. APOSTOLAKIS Chair
- MARIO BONACA                      ACRS Member
- THOMAS S. KRESS                      ACRS Member
- JOHN H. HICKEL                      ACRS Consultant

ACRS STAFF PRESENT:

ERIC A. THORNSBURY

1     NRR STAFF PRESENT:

2                   STEVEN ARNDT     RES/DFERR

3                   TODD HILSMEIER   RES/DRASP

4                   BILL KEMPER       RES/DFERR/IEEB

5     ALSO PRESENT:

6                   TUNC ALDEMIR     Ohio State University

7                   TSONG-LUN CHU    Brookhaven

8                   CARL ELKS         UVA

9                   BOB ENZINNA      AREVA

10                  JEFF GAERTNER    EPRI

11                  TONY HARRIS      NEI

12                  ALEX MARION      NEI

13                  GERARDO MARTINEZ-GURIDI

14                                    Brookhaven

15                  THUY NGUYEN     EPRI/EDF

16                  JEFF STONE       Constellation Energy

17                  MICHAEL YAU      ASCA, Inc.

**NEAL R. GROSS**COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

A G E N D A

Opening Remarks and Objectives . . . . . 5

G. Apostolakis, ACRS

Introduction and Overview of Digital  
System Risk Research Program . . . . . 8

S. Arndt, RES

Development of Probabilistic Approach for Modeling  
Failures of Digital Systems using Dynamic Methods  
. . . . . 22

S. Arndt, RES

T. Aldemir, OSU

Lunch Break . . . . . 145

Development of a Probabilistic Approach for Modeling  
Failures of Digital Systems using Traditional PRA  
Methods . . . . . 150

T. Hilsmeier, RES

T. Chu, BNL

Break . . . . . 217

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Development of Regulatory Guidance for  
2 Risk-Informing Digital Systems Reviews . . . . 256  
3 S. Arndt, RES  
4  
5 Comments by Industry . . . . . 286  
6 T. Harris, NEI  
7  
8 Adjourn . . . . . 296

## P R O C E E D I N G S

(8:33:29 a.m.)

CHAIR APOSTOLAKIS: The meeting will now come to order. This is a meeting of the Advisory Committee on Reactor Safeguards, Subcommittee on Digital Instrumentation and Control Systems. I am George Apostolakis, Chairman of the Subcommittee. Members in attendance are Mario Bonaca and Tom Kress. Also in attendance is one of our consultants, Dr. John Hickel. The purpose of this meeting is to review the ongoing digital system risk program, and the development of a regulatory guide on risk-informed digital system reviews. The subcommittee will gather information, analyze relevant issues and facts, and formulate proposed positions and actions, as appropriate, for deliberation by the Full Committee. Eric Thornsbury is the Designated Federal Official for this meeting.

The rules for participating in today's meeting have been announced as part of the notice of this meeting previously published in the *Federal Register* on May 25, 2006. A transcript of the meeting is being kept, and will be made available as stated in the *Federal Register* notice. It is requested that speakers first identify themselves and speak with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 sufficient clarity and volume so that it can be  
2 readily heard.

3 We have received no written comments from  
4 members of the public regarding today's meeting.  
5 Representatives from industry have requested time to  
6 make an oral statement, which we will hear at the end  
7 of the meeting. We will now proceed with the meeting,  
8 and I call upon Mr. Bill Kemper from the Office of  
9 Nuclear Regulatory Research to begin the  
10 presentations.

11 MR. KEMPER: Thank you, George. Good  
12 morning. My name is Bill Kemper. I'm the Branch  
13 Chief of the Instrumentation and Electrical  
14 Engineering Branch in the Office of Research. We're  
15 here today to provide an update to the ACRS INC  
16 Subcommittee on a research program that will provide  
17 modeling methods, tools, data, and regulatory guidance  
18 by which the Agency can review and improve risk-  
19 informed license applications for digital safety  
20 systems in nuclear power plants.

21 Currently, digital safety systems license  
22 applications for digital safety systems are reviewed  
23 and approved using deterministic methods in accordance  
24 with Chapter 7 of the Standard Review Plan. Now this  
25 research program will enable the Agency to also assess

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the contribution of these systems to plant risk during  
2 the licensing process.

3 Steve Arndt, who works in the INC Group,  
4 the Office of Research, will take the lead for today's  
5 presentations. He's the Project Manager for this  
6 project. Also, Todd Hilsmeier, to my right here, is  
7 working with Steve. He's from our PRA Branch in the  
8 Office of Research, and he is also managing a part of  
9 this project, as well.

10 They are supported today by staff members  
11 from several of our contract organizations. We have  
12 folks here from Ohio State University, Tunc Aldemir,  
13 and we also have folks here from Brookhaven National  
14 Lab, and that would be Louis Chu and Gerardo Martinez.  
15 Excuse me. I hope I pronounced that properly. And  
16 have I left out anybody else? Is there anybody else  
17 here that we want to introduce? Carl Elks is from the  
18 University of Virginia, and Michael, who have  
19 developed a part of the research program that we're  
20 going to use in developing this risk-informed approach  
21 here. So we have a lot of material to discuss today,  
22 and we really look forward to your insights and  
23 feedback on this information.

24 This research project involves the  
25 application of modeling methods for digital safety

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 systems that are relatively new, or at least not used  
2 within the nuclear industry at this time, so your  
3 advice and counsel would be greatly appreciated during  
4 these discussions. I see we have a lot of folks in  
5 the room, so there appears to be a lot of interest in  
6 this process from others, as well, so look forward to  
7 any input that our stakeholders may have, as well. So  
8 with that, I'll turn it over to Steve to begin the  
9 presentations.

10 MR. ARNDT: Thank you, Bill. As you can  
11 see from the schedule today, we have a number of  
12 different presentations, and I'm going to try and get  
13 through the introduction quite quickly so we have time  
14 for the technical discussions. We're going to go  
15 through a lot of different areas. If the members or  
16 the Chair would like us to concentrate on certain  
17 areas and move more quickly on others, please just let  
18 me know, and I'll facilitate that. I'd like to keep  
19 the meeting as informal as possible, free exchange of  
20 information.

21 For those members who might need a little  
22 refreshing and John, who I don't think has seen this  
23 before, I have a few slides just to introduce the  
24 research. As Bill mentioned, the research is intended  
25 to investigate potential procedures and methods for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 including reliability models in digital systems in  
2 current generation PRAs, develop these methods to the  
3 point they can be integrated into agency tools, and  
4 developed with necessary regulatory guidance,  
5 including understanding what the methods are, and  
6 which methods are most usable for this particular  
7 purpose, because there are a lot of different digital  
8 system modeling methods out there, determine which of  
9 these systems need to be modeled in terms of digital  
10 systems, how detailed a model, what level of modeling  
11 you need to actually put into the PRA, develop and  
12 test the methods for realistic applications, and then  
13 develop acceptable regulatory guidance associated with  
14 that.

15 CHAIR APOSTOLAKIS: Are you going to  
16 address the second sub-bullet today?

17 MR. ARNDT: We're going to talk about it  
18 a little bit.

19 CHAIR APOSTOLAKIS: Is this what we  
20 discussed in the past, the classification of the  
21 systems and so on?

22 MR. ARNDT: It's part of the  
23 classification. There are several different crossing  
24 classification issues, but one of them is the  
25 complexity of the system, and how that dictates both

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the kinds of modeling methods you need to adequately  
2 address them, and what level of integration into the  
3 PRA you need. There's other ways of classifying it,  
4 depending on other things, but we're going to talk  
5 about that a little. That's one the sticking points,  
6 and we're challenging parts of this, but we will talk  
7 about that at some level. If you have additional  
8 questions as it goes forward, please let us know.

9 Issues facing the NRC - we've been talking  
10 about this for a number of years. The licensees are  
11 replacing analog systems. The industry has expressed  
12 interest in risk-informed methods, similar to those  
13 laid out in Reg Guide 1.174 as an alternate method for  
14 licensing these systems. However, the research into  
15 how to do this does not currently support this  
16 application, which is the reason why we have a  
17 research program.

18 In addition, we're starting to run into  
19 situations where other risk applications are being  
20 limited or could potentially be limited because the  
21 general PRA does not model these systems. As we start  
22 doing more tech spec updates, et cetera, et cetera,  
23 we're having to exclude digital systems from that  
24 piece of those applications because we don't have  
25 adequate models. And, of course, the agency analysis

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 methods do not at present private any independent  
2 means to support that, so we'll talk a little bit  
3 about how we're going to, if the research is  
4 successful, integrate these in with the current NRC  
5 tools.

6 CHAIR APOSTOLAKIS: Is the industry  
7 developing methods along these lines?

8 MR. ARNDT: Yes. And the industry - I  
9 think we talked the last time - has proposed a  
10 methodology that we're looking at.

11 CHAIR APOSTOLAKIS: Oh, yes.

12 MR. ARNDT: Other industries, like the  
13 aviation and space, have proposed methodologies, as  
14 well. There are some advantages and disadvantages  
15 associated with those.

16 At our subcommittee meeting in June, the  
17 ACRS Subcommittee specifically asked that they be  
18 consulted as the program progresses, and that's  
19 specifically what the purpose of this meeting is. We  
20 have some intermediary products. We've shared some of  
21 the drafts with the committee, but this is primarily  
22 a progress reporting meeting. We've made some  
23 progress, and we want to tell you where we are, get  
24 your feedback, get your input on that.

25 The committee encouraged the review of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 software-induced failures, and we're going to hear  
2 about that today. The committee encouraged critical  
3 review of various methods, and we've published some  
4 research in that area looking at various methods and  
5 what we consider to be the most effective. And the  
6 committee also encouraged the staff to view digital  
7 systems from a systems standpoint, while acknowledging  
8 that there may be some applications that that's not  
9 necessary. And we'll talk about that, as well.

10 So we're looking at a number of different  
11 areas. It's a rather large and complex program, as  
12 you might have guessed from Bill's list of people that  
13 are working on it. We'll talk a little bit about how  
14 all the pieces fit together. We're basically looking  
15 at the various methodologies and developing some  
16 benchmarks to assess the relative capabilities and  
17 limitations of the different methodologies, at the  
18 same time informing our development of a regulatory  
19 guidance. We'll talk a little bit about the status of  
20 the development of the regulatory guidance at the end  
21 of the day. That's basically a preliminary issue. We  
22 will, of course, bring the draft regulatory guidance  
23 to the Committee before issuing it for public comment,  
24 so we're at the early stage of that development right  
25 now.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIR APOSTOLAKIS: When is this going to  
2 happen, Steve, in the fall?

3 MR. ARNDT: Yes. I have a draft schedule  
4 in that presentation.

5 CHAIR APOSTOLAKIS: Okay.

6 MR. ARNDT: But one of the things we want  
7 to do is get both stakeholder, and ACRS, and industry  
8 input into that, so this is your opportunity to give  
9 us some general ideas, are we going down the right  
10 path. We're also going to probably have a public  
11 meeting in August to get stakeholder input to make  
12 sure that the conclusions we're reaching are  
13 reasonable and appropriate.

14 CHAIR APOSTOLAKIS: Is this the first time  
15 today that you will present this to the public, the  
16 regulatory guide?

17 MR. ARNDT: Yes. It's just first thoughts  
18 on the regulatory --

19 CHAIR APOSTOLAKIS: The ideas, yes.

20 MR. ARNDT: The ideas.

21 CHAIR APOSTOLAKIS: But this is the first  
22 time.

23 MR. ARNDT: The first time, yes. Most of  
24 you have seen this diagram. John I don't think has.  
25 This is just a structural diagram of how all the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 pieces fit in our program. I'll go through it very  
2 quickly.

3 This first part is basically developing an  
4 approach, come up with an idea of how to do it.  
5 Supporting that is the review of the failure data,  
6 which was encouraged by the Committee, and the review  
7 of the current reliability methods, which we talked  
8 about in NUREG 69.01.

9 Supporting the development of the actual  
10 analysis is the supporting analysis, understanding how  
11 the system works, the failure most effects analysis,  
12 the digital system testing, and various other things,  
13 and the critical element that a lot of different  
14 elements are feeding into, the determination of what  
15 systems need to be modeled and at what level. This is  
16 an ongoing challenging part.

17 Now this path is a review and evaluation  
18 of dynamic methods. This path is review of  
19 traditional methods, fault trees, event trees, and  
20 supporting methodologies. The idea here it look at  
21 both methodologies critically and understand what  
22 systems can be modeled at what level using what  
23 methodologies, and what assumptions you have to make,  
24 and what limitations you have to make in those  
25 analyses. All of those will feed into the regulatory

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 guidance, which we are currently developing, and the  
2 development of the supporting tools for the staff.

3 CHAIR APOSTOLAKIS: Isn't the box on the  
4 upper left corner, the failure data, one of the most  
5 critical activities here? I mean, why doesn't it fit  
6 into both the traditional methods and the dynamic  
7 methods?

8 MR. ARNDT: It does. There's only so many  
9 arrows I can put on my chart. It's a critical element  
10 for a number of reasons. One, understanding and  
11 assessing what data is out there, what the data spread  
12 is in issues like that. Also, understanding how you  
13 augment available operational history with other  
14 information, like testing data and things like that,  
15 is a critical part of all of this. It's a critical  
16 part of the traditional methods, the dynamic methods,  
17 as well as the determination of what modeling methods  
18 you --

19 CHAIR APOSTOLAKIS: But in reading the  
20 reports and data and dynamic methods, one gets, at  
21 least the way they are now, one gets the impression  
22 that these two groups have not communicated, because  
23 the data that are -- date, I mean the numbers that are  
24 used, or the quantities that are used in the dynamic  
25 method report really have nothing to do with the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 findings of the failure data report. So at which  
2 point is there going to be some integration?

3 MR. ARNDT: Well, I take a little bit of  
4 umbrage with nothing to do.

5 CHAIR APOSTOLAKIS: Epsilon, they have  
6 epsilon to do. I mean, if you read the data report,  
7 there's all sorts of things that have happened, and  
8 this and that, then you go to the dynamic methods and  
9 they say now, this is a transition rate, and precision  
10 rate, and there is absolutely no reference to what is  
11 out there. And I'm wondering -- you know, it's not --  
12 maybe it's something that you intend to do in the  
13 future. I don't know. I mean, this is work in  
14 progress.

15 MR. ARNDT: It is work in progress, and we  
16 do intend to increase the review of these issues,  
17 because it's a critical issue. But I think when we  
18 review that piece of it today, you'll see that we are  
19 including those issues, the operational history of the  
20 system, the available failure information associated  
21 with components and other things feed into both the  
22 traditional methods and the dynamic methods. We may  
23 not be articulating it as well as we could in the  
24 report, and we certainly want to continue to have  
25 cross-fertilization. But yes, I take your point.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           As we have discussed, we're structured for  
2 three major outcomes; basically, the determination of  
3 what needs to be modeled at what level and what  
4 accuracy, the development of an independent modeling  
5 capability, and development of acceptable criteria for  
6 risk approaches.

7           So in summary, what we're looking forward  
8 to getting from the ACRS is the review of our  
9 progress, advice on the best methods, such as what  
10 Professor Apostolakis has just given, meaning the  
11 discussion we just had, eventual review and  
12 endorsement of the proposed methodologies, and  
13 eventual review and endorsement of the regulatory  
14 guidance. That will be probably this fall or early  
15 winter.

16           CHAIR APOSTOLAKIS: I think, Steve, the  
17 middle box there, "Determination of which data systems  
18 need to be modeled, at what level of detail", is a  
19 critical one, as you know. And you should give it  
20 more prominence, in my view. Again, in reading the  
21 reports as they are today, one gets the impression  
22 again that, for example, the dynamic methods, this it  
23 is. We are proposing this, we're going to apply it  
24 everywhere. Then you read the Brookhaven report, it's  
25 something else.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Maybe there ought to be -- I mean, I  
2 understand that this is something that you cannot  
3 finish now before you do other things, but maybe if  
4 you have a skeleton of it, and everybody refers to  
5 that, and everybody understands that this thing is  
6 going to evolve as we progress, I think that will go  
7 a long way towards pacifying some people, because I  
8 mean, admittedly what is in this dynamic thing is  
9 fairly complex. And you're scratching your head,  
10 saying well, do I have to do this for actuation  
11 systems, for example. And there is nowhere there  
12 something that says hey, this is for a class of  
13 systems that have these problems or these  
14 characteristics, and I think that would be -- I mean,  
15 I appreciate that it's something that you cannot  
16 finalize now, but having some sort of a skeleton -  
17 based on what we know, this is the way we're going,  
18 and this is where this method applies.

19           MR. ARNDT: Yes. At the risk of getting  
20 ahead of myself, because we're going to talk a little  
21 bit about this later in the day, what we're looking at  
22 right now, and again, this is preliminary results, we  
23 haven't gotten the Reg Guide ready for prime time yet.

24           CHAIR APOSTOLAKIS: I know. That's why  
25 we're here. I mean, I fully agree it's not --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ARNDT: But the concept is there's  
2 going to be a set of characteristics, performance  
3 characteristics, if you will, that will lead us to  
4 particular modeling requirements that will lead us to  
5 - or the industry if they choose to go down this path  
6 - modeling capabilities for certain systems, some will  
7 have relatively simplistic modeling methodology, some  
8 will have an appropriate uncertainty analysis and data  
9 requirements, et cetera; some will have a higher level  
10 of detail, and some will have a still higher level of  
11 detail. That then becomes both a regulatory concern  
12 for us, how good does it have to be for which  
13 application, and then an economic concern for the  
14 industry, what do they want to do? So that's  
15 basically the idea.

16 CHAIR APOSTOLAKIS: No, I know, but all  
17 I'm saying is, maybe you can give us some idea where  
18 you're going at this point, without waiting to be  
19 ready for prime time.

20 MR. ARNDT: Okay.

21 CHAIR APOSTOLAKIS: It's okay. I mean, I  
22 understand these things, and we all understand that  
23 these things are evolving. John, do you want to say  
24 something?

25 MR. HICKEL: Well, I think I tried to ask

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Steve this maybe before, but one thing is this -- it's  
2 a split between how much resource do you devote to  
3 things like trip and actuation systems, versus  
4 emergency diesel load sequencers, versus normal  
5 process controls?

6 If I knew what -- do you have a proposed  
7 split as to how much attention you're going to put in  
8 this area versus that, or is that too preliminary?

9 MR. ARNDT: Well, there is a couple of  
10 different ways to answer that question. In terms of  
11 attention from a research standpoint, we know certain  
12 things, and we don't know certain things, and we know  
13 things at various levels, so we put the most attention  
14 to the things we know least about so we can get a  
15 level of understanding that's appropriate.

16 In terms of regulatory side, and I'm not  
17 on the regulatory side, but some of my colleagues are  
18 here, the issue is, you want to put the most  
19 importance on those things that have the biggest  
20 potential for risk to the health and safety of the  
21 public, because that's our business. So it's a little  
22 bit -- I'm not quite sure what you're getting at by  
23 the question.

24 MEMBER KRESS: It looks like a good place  
25 for using risk importance measures.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ARNDT: Yes.

2 MEMBER KRESS: You could do that, even  
3 though you don't know the failure rate, you can do a  
4 risk importance.

5 CHAIR APOSTOLAKIS: At the system level.

6 MR. ARNDT: At the system level, yes.

7 MEMBER KRESS: Yes.

8 MR. ARNDT: Both how important the system  
9 is, and how complicated it is, and how important it is  
10 to get it right, and/or not miss things is part of the  
11 criteria associated with what you're going to do.

12 MR. KEMPER: This is Bill Kemper. If I  
13 could just throw something in here. We're going to  
14 talk more about during this presentation of a couple  
15 of benchmark exercises that we're going to do. We  
16 intend to model the digital feedwater system from a  
17 current operating nuclear power plant, as well as the  
18 reactor protection system, and engineer safety feature  
19 system. So we hope by performing a couple of case  
20 studies, if you will, and benchmark examples, we'll be  
21 able to provide some guidance along the lines of what  
22 you're asking here, George.

23 CHAIR APOSTOLAKIS: Yes. Don't  
24 misunderstand my comment. I know that you guys have  
25 been thinking about it. It's just that I think you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 should give it more prominence even now, so the reader  
2 will know that we are exploring this area, these kinds  
3 of systems, and put it up front in bold face because  
4 if you read some of this stuff now and you stop and  
5 think what are we trying to do here, you really don't  
6 have that help from you. That's all I'm saying.

7 MR. KEMPER: Good comment.

8 CHAIR APOSTOLAKIS: Okay. Who's next?

9 MR. ARNDT: Okay, if you look at your  
10 agenda --

11 CHAIR APOSTOLAKIS: It says Arndt and  
12 Aldemir.

13 MR. ARNDT: Yes. What we're now going to  
14 step through is some of the work on the dynamics, a  
15 fairly lengthy presentation. Then we're going to talk  
16 through some of the data issues, and some of the  
17 traditional methodologies in the afternoon, and then  
18 the early thoughts on the Reg Guide at the end.

19 CHAIR APOSTOLAKIS: Okay. So now we have  
20 this big package. Right?

21 MR. ARNDT: Yes.

22 CHAIR APOSTOLAKIS: Okay. A lot of  
23 slides.

24 MR. ARNDT: Joining me at the table is  
25 Professor George Aldemir from Ohio State University.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 This presentation is, as you mentioned, a lot of  
2 slides. We're going to go through a quick background  
3 on why we're looking at dynamic methods, talk a little  
4 bit about the first benchmark. As Bill just  
5 mentioned, we're going to have a second benchmark.  
6 The first benchmark is going to be a system that is  
7 more likely to require the dynamic methods. The  
8 second benchmark is going to be a system that's less  
9 likely to require the dynamic methods. We'll talk a  
10 little bit about what it entails. We'll talk a little  
11 bit about data, which is obviously a very important  
12 issue in this area. We'll talk about the example  
13 model that we're going to use to integrate this  
14 system, the two methodologies that are being proposed  
15 as pilot methodologies for dynamic methods, dynamic  
16 flow-graph methodology and Markov; a little bit about  
17 if you do this methodology, how you integrate it into  
18 a PRA, because the current fleet of PRAs are fault  
19 tree/event tree systems, and have an acceptance  
20 criteria that's based on Delta CDF or Delta LERF. You  
21 need to get those integrated.

22 We'll talk a little bit about interfacing  
23 with the current NRC PRA tool, SAPHIRE; procedures and  
24 requirements for reliability modeling. Basically,  
25 what we've learned in terms of what's necessary to do

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 this based on how far we've gotten on the benchmark so  
2 far, and then conclusions to-date.

3 You mentioned, I'm trying to sit at the  
4 head of this multi-technical research program, so this  
5 is going to be focused in on the particular dynamic  
6 methodologies, but part of the objective of this is  
7 not only to develop the dynamic methodologies, but  
8 also to understand where you need them and where you  
9 don't need them, and what aspects can be modeled with  
10 what kinds of systems, and what the limitations are.

11 CHAIR APOSTOLAKIS: Since you're talking  
12 about an overview, I got a little confused when I read  
13 the report, because in Chapter 2, there is a lot of  
14 discussion in using the words Markov; for example,  
15 2.4.4 says "Modular Markov chain modeling of the  
16 DFWS." And then much to my surprise, there's a whole  
17 Chapter 4 on Markov analysis, so what is the -- I  
18 mean, can you give me an overview - in Chapter 2 we  
19 are doing this, in Chapter 3 we're doing that, and in  
20 Chapter 4 we're doing that. I don't see how what you  
21 have in Chapter 2 relates to Chapter 4.

22 MR. ARNDT: Okay. In that report, and I  
23 apologize to the public. This is a draft report  
24 that's not publicly available yet. In that report,  
25 which is a report that will be published here in a few

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 months, Chapter 2 talks about the system and how we  
2 develop data for the system. In that analysis, we use  
3 a system model to try to understand what data we need.  
4 That system model is a Markov model, so in Chapter 2,  
5 we're basically talking about our understanding of how  
6 the system works, and based on that, what data we  
7 need, and how we generate that data. That's one  
8 application of Markov associated with trying to  
9 understand the system.

10 CHAIR APOSTOLAKIS: I mean, since you have  
11 a Chapter 3 on the dynamic flow-graph methodology,  
12 shouldn't you be using that also to develop whatever  
13 data they need?

14 MR. ARNDT: Yes, but the particular model  
15 we're using for understanding the system just happens  
16 to be a Markov model. It could have been a dynamic  
17 flow-graph model, it could have been --

18 CHAIR APOSTOLAKIS: So this is not a  
19 comparison of the methods then.

20 MR. ARNDT: No.

21 CHAIR APOSTOLAKIS: This is focusing on  
22 the dynamic model.

23 MR. ARNDT: The chapter on the Markov --

24 CHAIR APOSTOLAKIS: Four.

25 CHAIR APOSTOLAKIS: Three and four are the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 two different dynamic methods. Chapter 2 is  
2 understanding the system and developing the data  
3 necessary for the system, how does it fail, what are  
4 the failure modes. We just happened to use a Markov  
5 model in that analysis of the system. It could have  
6 been any state space model we wanted, we just happened  
7 to use a Markov model.

8 CHAIR APOSTOLAKIS: The question is, I  
9 mean, if you are producing data for information really  
10 about the system in Chapter 2, it should address both  
11 methodologies then. I mean, you're already biasing  
12 the thing towards the Markov approach. Anyway, is  
13 there going to be a presentation on Chapter 2?

14 MR. ARNDT: Yes.

15 CHAIR APOSTOLAKIS: Okay.

16 MR. ARNDT: Okay. As you mentioned, this  
17 is a fairly long presentation. Some of it I will try  
18 and skim through relatively quickly. Obviously, if  
19 there are questions, we can do that, go into detail.  
20 Some of it we'll try and talk about a little more  
21 detail, but this is basically where we're going.

22 As we mentioned earlier, we're trying to  
23 develop the models to support the NRC policy statement  
24 that encourages expanded use of PRA in all areas  
25 supported by the state-of-the-art and data. We're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 developing the various models. We're looking at it  
2 from a number of different aspects, but particularly  
3 from the system standpoint because that is the  
4 preferable way to look at it, and we have been  
5 encouraged to do that by this committee, by the  
6 National Academy study, and others. However, for the  
7 near term, we're going to have to - if we choose to  
8 model in a dynamic way, we're going to have to find a  
9 way to get back to PRA through some kind of  
10 traditional PRA through event tree/fault tree-type  
11 applications, so we're also looking at how you get  
12 that information into a fault tree/event tree-type of  
13 approach. And there's a number of ways out there, we  
14 just chose one particular way which we think is  
15 particularly encouraging.

16 We're looking at issues that in this part  
17 of the project, the dynamic part, that might drive us  
18 toward using dynamic methods. Particularly, dynamic  
19 interactions between the system and the process that  
20 it's involved with in case of a controller, in  
21 particular, the physical processes associated with it,  
22 as well as internal issues within the digital systems  
23 that are either sequential or time-based, or things  
24 like that. These we refer to, for convenience, as  
25 Type 1 and Type 2 interactions. Some systems, as we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 mentioned earlier, will have relatively few Type 1  
2 interactions. Actuation systems that just meet a  
3 threshold and do a particular action, don't have a lot  
4 of process feedback in them. Control systems have a  
5 lot of process feedback in them. Depending upon the  
6 complexity of the digital system, they may or may not  
7 have a lot of Type 2-type interactions. If there's a  
8 lot of communications between the different internal  
9 systems, if there's data sharing, if there's multi-  
10 tasking, there's a potential that there's going to be  
11 a lot of interactions that will be sequence-dependent,  
12 or time-dependent, and will need a more complicated  
13 model.

14 For example, the Turkey Point generator  
15 sequencer failure that occurred several years ago,  
16 where the system was in diagnostics, and got a real  
17 actuation signal, and failed to drop out. That is an  
18 internal Type 2 sequential issue that you need to  
19 address in some way for that kind of system, if you're  
20 going to have a lot of diagnostics, or if you're going  
21 to have a lot of fault checking, or if you have a  
22 sequential logic that could have timing-dependent  
23 failure modes.

24 CHAIR APOSTOLAKIS: To what extent are  
25 these systems being used now in safety systems?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ARNDT: It depends on the plant,  
2 depends on the particular safety system. There's not  
3 been a - let me see if I can say this correctly -  
4 there's not been a RPS or ESFAS update in a digital  
5 system under the new regulations.

6 CHAIR APOSTOLAKIS: There has or has not?

7 MR. ARNDT: Has not.

8 CHAIR APOSTOLAKIS: Has not.

9 MR. ARNDT: There has been some safety  
10 systems that have been upgraded with digital systems,  
11 but they're not RPS or ESFAS.

12 CHAIR APOSTOLAKIS: And these are just  
13 actuation systems, or there is feedback there, and  
14 control?

15 MR. ARNDT: There are feedback systems,  
16 simple control systems.

17 CHAIR APOSTOLAKIS: And the staff has  
18 approved those? I guess they have.

19 MR. ARNDT: Using the deterministic rules.

20 MR. HICKEL: Hey, George, CE has been  
21 running digital protection systems based on stored  
22 computer software since 1978.

23 MR. KEMPER: Yes. This is Bill Kemper,  
24 again. Yes, there are many digital applications out  
25 there. The CPC Plant Protection System that he just

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 mentioned, for example, is one that's been around for  
2 a long time. There's currently digital devices being  
3 put in place to replace other antiquated digital  
4 systems under 50.59. Very few have been submitted to  
5 the agency, though, for license amendment approval, if  
6 you will. However, as you're well aware, the Oconee  
7 application is really the first full-blown RPS and  
8 ESFAS upgrade from analog to digital technology, so  
9 that's what we're really dealing with at this point.  
10 But as an example, for example, at Palo Verde, they  
11 replaced their platform with an ADVENT 160, the  
12 "Common Q" processor. Oconee has got, I  
13 understanding, in their QB system, TELEPERM, so there  
14 are examples of equipment installed out there, but  
15 it's not on a very large scale yet. We're just kind  
16 of at the beginning of that bow wave, if you will.

17 MR. ARNDT: And there's a significantly  
18 larger fraction in the non-safety side.

19 CHAIR APOSTOLAKIS: Yes.

20 MR. ARNDT: Okay. Again, I'll briefly  
21 talk about this. This is basically the chart I showed  
22 before. This side is the dynamic part, which is what  
23 we're going to talk about today, but it also has  
24 interactions with these other supporting analysis;  
25 particularly, of course, the determination of what

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 systems need to be modeled.

2 So the objective is to develop procedures  
3 and methods for incorporating these reliability  
4 methods into a PRA, and what we're doing is we're  
5 doing pilot studies, as Bill mentioned, to understand  
6 if the proposed methods are capable of modeling the  
7 systems adequately, and what are the limitations  
8 associated with it. And then understand how you  
9 integrate those into the current regulatory structure  
10 for risk-informing systems that the NRC has, the 174,  
11 Delta CDF and Delta LERF issues for INC, and also look  
12 at other deterministic rules associated with that.

13 So this is basically just words associated  
14 with what was in that bubble chart; investigate the  
15 applicability of current methodologies, review the  
16 limitations and advantages of dynamic methodologies,  
17 review what other people have been doing, the  
18 railroads, space, industry, NASA and other things,  
19 review the existing regulatory framework, identify the  
20 minimum set of requirements, or at least a preliminary  
21 minimum set of requirements, which is going to get  
22 evolved as we learn more about how these systems work;  
23 take those methodologies, see whether or not they meet  
24 the requirements that we've identified, and then test  
25 them with benchmarks, so we've done a preliminary

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 review of the first six of those steps, and determined  
2 that the two leading candidates from a dynamic  
3 standpoint are a Markov methodology, and a dynamic  
4 flow-graph methodology. Each has limitations and  
5 advantages both in terms of modeling complexity, the  
6 data you need, how you structure it, the amount of  
7 information that's necessary, the amount of  
8 quantitative versus qualitative information you get.  
9 And we're getting leaders in both those areas as  
10 subcontractors and contractors to look at that  
11 methodology.

12           Okay. The next three or four slides are  
13 just a review of the benchmark we chose. The purpose  
14 of this is to talk about why we chose this particular  
15 benchmark, and how we've set it up. The idea is to  
16 have a benchmark that hits the various possible  
17 modeling requirements as much as reasonable for a  
18 single system, because we're not going to do 30  
19 systems to make our decision. We want to do two or  
20 three systems to make a reasonable assessment of  
21 what's really necessary for practical systems, so we  
22 chose the benchmarks in such a way that they're both  
23 representative of real systems, and they have a lot of  
24 the characteristics of various digital systems, and  
25 the feedback processes associated with them.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           This particular benchmark is a digital  
2           feedwater control system based on an operating plant's  
3           digital feedwater system.

4           MR. HICKEL:   Which plant?

5           MR. ARNDT:   I'd rather not say in a public  
6           meeting.

7           MR. HICKEL:   It's a real one, though.

8           MR. ARNDT:   Yes.  We've taken the actual  
9           system, we've generalized it a little bit to be  
10          representative of this type of system; that is to say,  
11          an important to safety, but not safety system that has  
12          interactions with the process, and interactions within  
13          itself between its component parts.  Basic purpose of  
14          the feedwater control system is to maintain the level  
15          in the steam generators.

16          For the particular scenario we chose, the  
17          failure criteria for this particular system is above  
18          30 or below 24 inches.  This is scenario-dependent.  
19          We'll talk about the particular scenario we chose  
20          later in the presentation.

21          MEMBER KRESS:  Was there a reason for  
22          those numbers, like the steam generator loses its  
23          effectiveness beyond that or something?

24          MR. ARNDT:   Based on the particular  
25          scenario, there's numbers -- some other actuation

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 happens, it either loses its effectiveness, or causes  
2 another system to actuate or whatever. Connected  
3 basically to the main feedwater system that regulates  
4 the feedwater pump, the main feedwater valve and  
5 bypass valve. The controller in the system's basic  
6 purpose is to regulate the steam generator, level the  
7 temperature, and deal with other things associated  
8 with the steam system.

9 Real quick overview - steam generator  
10 system, obviously, there's booster pumps and  
11 condensate pumps in here, but just simplified system.  
12 You have inputs, power from the reactor, steam flow  
13 level, feed flow, feed temperature. The system is  
14 basically structured with a main computer and a backup  
15 computer, a controller which takes information from  
16 these computers for the bypass valve, the flow valve,  
17 and the feed pump. You have the back-up controller,  
18 and I'll talk a little bit about how that's  
19 configured.

20 You have a number of different internal  
21 inter-connections. This is the Type 2 interactions  
22 that I mentioned. The main computer will trip off to  
23 the back-up computer. It also has a watchdog  
24 associated with the various controllers it is  
25 providing information for. We also have something

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 known as a --

2 CHAIR APOSTOLAKIS: You know, when you use  
3 terms that are not commonly used by everybody, you  
4 should explain that. Watchdog status - I mean, what  
5 does that mean? It's probably part of the language of  
6 this field.

7 MR. ARNDT: Apologies. Watchdog timer or  
8 watchdog status is a commonly used fault tolerant  
9 capability among digital systems. The concern is that  
10 you either get stuck in the loop, or if you hang the  
11 computer, or you do not progress through the system,  
12 watchdog, you can configure it in a number of  
13 different ways, but in this most basic configuration  
14 is waiting for certain things to happen. If it  
15 doesn't happen under a certain time cycle, or under a  
16 certain set of conditions, it will flag an error, or  
17 trip the system out, or go from a primary system to a  
18 backup system.

19 CHAIR APOSTOLAKIS: Good.

20 MR. ARNDT: The only point of this slide  
21 is basically there's a number of different internal  
22 connections associated with how the system works, how  
23 it feeds from one system to another, what the fault  
24 tolerant capabilities are, if the main computer does  
25 not continue to update, the controllers will take the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 last signal. It will identify issues to the operator  
2 that will allow the operator to go into manual mode,  
3 between the different controllers going between the  
4 various modes of operation, full power and low power  
5 operation. The point being, there is indications  
6 associated with it that lead us to have Type 2  
7 interactions in the system.

8 The input parameters are cross-tied based  
9 on the various channels, as you would expect, to  
10 reduce the likelihood of single failure criteria.  
11 Control laws are non-trivial, and I won't go through  
12 all these in detail, but they have a number of fairly  
13 complex control laws associated with the demand, the  
14 compensated air, and the level, both for the flow, the  
15 level, the power, the positions for all the different  
16 valves, and the speeds. The point here is, there's a  
17 lot of process dynamics that can feed back into the  
18 control system that makes when the system fails and  
19 when which pieces of the system fail important.

20 CHAIR APOSTOLAKIS: So these laws are used  
21 by either dynamic methodology?

22 MR. ARNDT: These laws are used by the  
23 dynamic.

24 CHAIR APOSTOLAKIS: Are they also being  
25 used by DFM?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ARNDT: They're being used by both of  
2 the dynamic methodologies. This is the system. We'll  
3 talk about how we model the system in both the dynamic  
4 methodologies later in the presentation.

5 MR. HICKEL: I guess one question is, is  
6 this system taking the original PID controller and  
7 converting it to an equivalent digital, or is this  
8 something that's a revolutionary system that's trying  
9 to feed forward, or something like that?

10 MR. ARNDT: It's basically a conversation  
11 of the PID controller that was originally in there.  
12 There's some added features, but basically that's  
13 where we are.

14 This is just some more basic information  
15 on the control laws. The issue here is because of the  
16 way the control laws are developed, the current state  
17 of the system is dependent on the historical  
18 information in the digital system, so there's history  
19 in the state space.

20 As I mentioned before, there's a number of  
21 fault tolerant capabilities in the system. One of the  
22 reasons we care about this is, it touches on a lot of  
23 the potential reasons why you would need a dynamic  
24 methodology, the DFM, the Markov, or something else,  
25 as opposed to a simple fault tree/event tree. So the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 controllers for the main feed valve, backup feed valve  
2 and the feed pump for the control systems to the  
3 corresponding feed control points provides fault  
4 tolerance in case the computers fail, gives the  
5 operator time to intervene, switch from automatic to  
6 manual. The computers are independently wired to  
7 different power sources. You can have different kinds  
8 of single failure controllers, single failure modes.  
9 The algorithms take a relatively short time compared  
10 to the response frequency, the physical process.  
11 There's a watchdog timer, as I explained earlier, on  
12 each of the two computers, the backup and the main  
13 computer. If the set point - if the system fails,  
14 the computers will fall back to a pre-programmed set  
15 point value. Each of the computers has a validation  
16 and verification of the inputs, so that there's a  
17 number of different fault tolerant features associated  
18 with the controllers that may lead to Type 2 dynamic  
19 interactions.

20 CHAIR APOSTOLAKIS: So these are included  
21 in the two methodologies? They said yes.

22 MR. ARNDT: I'm sorry. Again, the input  
23 ranges are checked, the backup computer propagates the  
24 sensor data.

25 MR. HICKEL: What's a PDI controller? I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 know what a PID controller is. Is that just -- is  
2 that a typo on the --

3 MR. ARNDT: No, that's really what it's  
4 called. It's --

5 MR. HICKEL: Portional Derivative Plus  
6 Integral, instead of --

7 MR. ARNDT: No.

8 MR. KEMPER: No, this is Bill Kemper. The  
9 particular plant where this system is deployed, that  
10 controller normally monitors, if my memory serves me  
11 right, differential pressure across the main feedwater  
12 valve, so it's called PDI. It's an indicator. In the  
13 fail mode, it reverts to a control device for one of  
14 the SD's head, either the main feed valve or the  
15 bypass valve controller.

16 MR. ARNDT: It serves for the purposes of  
17 the dynamic interactions, as basically a backup to the  
18 other controllers in the system.

19 As I mentioned as we were going along, the  
20 system incorporates all the properties of a loosely  
21 coupled system; that is to say, it has a lot of the  
22 properties we care about when we're trying to  
23 determine what level of modeling detail we need to  
24 address. Some of the properties it doesn't  
25 incorporate, but those systems may not be important to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 the kinds of controllers and digital systems that are  
2 actually in nuclear power plants. When we wrote the  
3 issues for digital systems, we wrote them as general  
4 as possible, so we included things like networking and  
5 shared external resources.

6 Without knowing what the licensee is going  
7 to bring to us in terms of a configuration, we wanted  
8 to be as general as possible. We understand that  
9 most, particularly safety system, digital systems are  
10 going to be used in a real-time safety system. We're  
11 not going to have networking resources, or shared  
12 external resources, so that may be a less important  
13 criteria which will eventually drop out of a  
14 regulatory guidance. We wanted to start general, and  
15 focus in.

16 MEMBER BONACA: I have a simple question  
17 here, Steve.

18 MR. ARNDT: Yes, sir.

19 MEMBER BONACA: You know, some plants  
20 already have this system, this feature. Has any plant  
21 attempted to model in their PRA these control systems?

22 MR. ARNDT: There are models of control  
23 and protection systems in PRAs. They tend to be, and  
24 I don't know what all 103 PRAs look like in detail,  
25 some of them are very, very general.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. KEMPER: Black box.

2 MR. ARNDT: Black box, and most of them,  
3 I would say, are incorporated as sub-components of the  
4 system as a whole. There are some models, some of  
5 them - I'll use a non-U.S. example to be safe, such as  
6 the Seiswell B model, is fairly detailed. Seiswell  
7 has a fairly detailed PRA model of their control and  
8 instrumentation systems, and protection systems.  
9 They're not a dynamic model, they can't capture the  
10 kind of dynamic interactions we're talking about. Do  
11 they need to? Well, that's part of the reason we're  
12 doing the research, is to see whether they need to or  
13 not. But most of them are fairly general, and some of  
14 them are very black box, as John mentioned.

15 MEMBER BONACA: Yes. Okay, thank you.

16 MR. ARNDT: As I mentioned earlier, the  
17 system includes system history as part of the control  
18 laws, so there are opportunities to create artifacts  
19 and/or create situations where the exact timing and  
20 sequence of events might be very important.

21 At this point, I'd like Professor Aldemir,  
22 who did this particular analysis, to walk you through  
23 an example of what can happen in this case associated  
24 with timing failure sequences.

25 MR. ALDEMIR: In the first slide here on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the left, you're seeing the normal behavior of the  
2 system. Incidentally, this is simulating a situation  
3 where the initiating event is a turbine trip with main  
4 computer failed. And the reason why it's failed, is  
5 so that the state space is limited for illustrations.  
6 This example is taken from the report that we just  
7 went through earlier, and in this report, we are  
8 trying to illustrate how these methodologies work, and  
9 for the ease of understanding, we chose a simpler  
10 system with a smaller state space, so it does not  
11 represent the whole controller. That's why we  
12 purposefully assumed that the main computer failed, to  
13 reduce the state space.

14 So here you see the normal behavior of the  
15 system, level starts -- okay. The scenario is such  
16 that we're operating at full power, turbine trips, and  
17 within 10 seconds the power is reduced to 6.6 percent  
18 of nominal power with feedwater flow following, so you  
19 have these oscillations until the level stabilizes  
20 around 100 seconds. Incidentally, these time  
21 constants may not really refer to the actual plant,  
22 but these are time constants still lead to believable  
23 behavior of the system, credible behavior of the  
24 system.

25 MR. HICKEL: Could I ask a question?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ALDEMIR: Sure.

2 MR. HICKEL: You say it's a turbine trip.

3 MR. ALDEMIR: Yes.

4 MR. HICKEL: Are we talking a plant that  
5 has a big steam bypass system?

6 MR. ALDEMIR: Not to my knowledge.

7 MR. HICKEL: I don't understand the level  
8 - to understand the level in the generator, you've got  
9 to know what the pressure is doing, so if you trip the  
10 turbine, you've taken away the load.

11 MR. ALDEMIR: Right.

12 MR. HICKEL: Steam wants to go somewhere.

13 MR. ALDEMIR: Right.

14 MR. HICKEL: If you don't take it  
15 somewhere, pressure is going to go way up, level is  
16 going to go way down. How is that just oscillating --

17

18 MR. ALDEMIR: We are tripping -- the  
19 reactor trips.

20 MR. HICKEL: Right. Okay.

21 MR. ALDEMIR: So within 10 seconds or so,  
22 the power is down to 6 percent. That's where this  
23 scenario starts. So at the beginning of the scenario,  
24 at least as I've shown on this slide, power is 6.6  
25 percent of nominal, which is 1500 megawatts, and then

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 feedwater is at that nominal flow. Then through the  
2 bypass flow valve, in this situation, the main flow  
3 valve is not active. The bypass valve is active. It  
4 is trying to regulate the flow so that it reaches the  
5 set point. I mean, it stays at the set point, which  
6 is by convention, zero.

7 CHAIR APOSTOLAKIS: These are the results  
8 of the solution to what, to the laws that you showed  
9 us earlier?

10 MR. ALDEMIR: Not all equations -- this  
11 particular initiating event, according to the control  
12 laws, is such that only three or four of those  
13 equations are relevant.

14 CHAIR APOSTOLAKIS: But this is the output  
15 of what?

16 MR. ALDEMIR: Part of the equations that  
17 you saw in the earlier slide.

18 CHAIR APOSTOLAKIS: And anything else?

19 MR. ALDEMIR: I'm not sure if I'm  
20 following.

21 CHAIR APOSTOLAKIS: You're talking about  
22 the steam generators --

23 MR. ALDEMIR: Oh, oh, oh, I'm sorry. Yes.  
24 Well, thank you for the remark. In those equations  
25 then, I don't know how easy it's going to be for me to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 go back in slides, but in the equation that governs  
2 the level change, there is feedwater flow input, and  
3 steam flow out. And these are, of course, related.  
4 Now this relation is described by a steam generator  
5 module, which was developed -- the one that we're  
6 going to use is developed by our subcontractor, ASCA.  
7 Also, the developers of the dynamic flow-graph  
8 methodology.

9 In this particular example, we are not  
10 using that steam package because, as I said, for  
11 simplicity of illustration or the ease of  
12 illustration, we are trying to put down equations that  
13 you can easily follow, so in this equation, the steam  
14 flow is assumed to be constant, and the feed flow is  
15 used through a simplified pipe and valve model, also  
16 taken from NUREG 64.65, which illustrates how the  
17 dynamic flow-graph methodology works. Thank you,  
18 Professor Apostolakis. I missed that process part.

19 Now here, this is very interesting, and  
20 actually, it was a surprise for us, too. If you  
21 notice, up to 600 seconds nothing happens here.  
22 Everything is beautiful, everything is maintained at  
23 zero level. If you let it run longer, suddenly you  
24 have a kink in the system, suddenly through this  
25 control. Now this was by accident. Turns out that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 our colleague who was doing the programming put an  
2 artificial or unnecessary bound on one of the  
3 parameters, and it's basically an artifact. The real  
4 system does not do that, if you program it carefully.  
5 But well, we are trying to model software faults, so  
6 this is the kind of experience that you can have with  
7 the model. Incidentally --

8 CHAIR APOSTOLAKIS: Your own people make  
9 mistakes?

10 MR. KEMPER: Hard to believe, isn't it?

11 MR. ALDEMIR: Well, I mean, it was  
12 fortunate, because then we created an artifact in the  
13 system without intending. Incidentally, these types  
14 of events have been observed in real life. And in the  
15 report that was being referred to earlier, we cited  
16 about four or five examples, where these kinds of  
17 events were observed in plants either through the  
18 process, complexity of the process, longevity of the  
19 process, or actual error in the tuning of the  
20 controller. So the benchmark does capture these type  
21 of events. Well, I'll come to that later on, but  
22 talking about the requirements - can it produce  
23 observed failures? Yes, this is one of the cases  
24 where we can produce observed failures, because these  
25 things have been observed in actual plants.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Now another interesting thing here is that  
2           - and this is, again, not intentional. We did not  
3           choose the parameter so that we'll have this behavior.  
4           It just so happened that we did have this behavior,  
5           the discoveries were accidental, too.

6           In this situation, bypass flow valve, we  
7           took curves here. Let's take the first one. The blue  
8           one, the steam generator is chugging along, and the  
9           level is changing. And at 43 seconds, bypass flow  
10          valve fails stuck, and you have a low level. If the  
11          bypass flow valve fails stuck at 44 seconds, you have  
12          high level. One second difference, two different  
13          failure modes.

14                 MR. HICKEL: The valve was modulating,  
15                 obviously?

16                 MR. ALDEMIR: That's exactly right. And  
17                 the stuck mode is such that it just gets stuck and so  
18                 it has to refer back to the history-dependent  
19                 information, and just so happens at that time, exactly  
20                 where the level is, you may have totally different  
21                 modes.

22                 CHAIR APOSTOLAKIS: So what do we learn  
23                 from this?

24                 MR. ALDEMIR: We learn from this that it  
25                 is very important to model the timing of events in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 reliability model, so it's an illustration of why we  
2 may need dynamic models.

3 CHAIR APOSTOLAKIS: A one second  
4 difference?

5 MR. ALDEMIR: One second difference. And  
6 as I said, this wasn't intentional. Purely by  
7 accident, we chose the time clusters for the system.  
8 We did an analysis. I don't think we have it in the  
9 slides, but it is in the report. We did a little  
10 analysis of the controller to see what kind of  
11 parameter ranges will lead to stable behavior, and  
12 arbitrarily chose time constants, and just so happens  
13 that this is the type of behavior we observed.

14 CHAIR APOSTOLAKIS: What do you mean by  
15 "time constants"? Which one did you choose --

16 MR. ALDEMIR: If you go to the -- again,  
17 I don't know how easy for me to switch, but if you  
18 look at the original equations, there are a number of  
19 controller parameters.

20 CHAIR APOSTOLAKIS: Okay. Okay.

21 MEMBER KRESS: Couldn't you consider  
22 either one of those paths a failure, and not have to  
23 know that time --

24 MR. ALDEMIR: Yes, we may have to. For  
25 example, I mean, in this situation, I hope I'm

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 recalling this correctly.

2 MEMBER KRESS: I'm very skeptical about  
3 one second timing.

4 MR. ALDEMIR: As I said, it was surprising  
5 to us, too. But that's what we have observed.  
6 Incidentally, this type of difference in failure modes  
7 is not the first time that we're observing in this  
8 system. We have a publication in 1989 where we are  
9 using the HIPCO system, bleed cooling of BWR. This is  
10 NUREG 69.01, where again, the timing of events are  
11 very important, and it can take you to high level or  
12 low level.

13 MEMBER KRESS: Would you do something  
14 different depending on which of those modes --

15 MR. ALDEMIR: Yes. For example, in this  
16 situation what happens is that if we hit the low level  
17 - now I hope I can recall this correctly - if we hit  
18 the -- right now we are dealing with the bypass flow  
19 valve, turbine is not available. So if we hit the low  
20 level -- sorry, we are dealing with the auxiliary  
21 system, I think. We hit the low level, and then the  
22 turbine is made available as a heat sink, and then the  
23 main flow controller comes into play. And if we hit  
24 the high level, I'm assuming that this is going to be  
25 the performance of the steam generators. So in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 HIPCO system that we used earlier, if you hit the low  
2 level - now that becomes a safety-related action,  
3 because it actuates the LPCI system or LPCS system.  
4 So if you hit the high level, you don't do anything.

5 MEMBER KRESS: Explain to me why the high  
6 level is a problem.

7 MR. ALDEMIR: High level, I presume, this  
8 is the steam dryers performance deteriorating.

9 MR. KEMPER: This is Bill Kemper. Yes,  
10 this plant is a PWR with U-tube steam generators, so  
11 high level, the problem is just as Tunc said, the  
12 dryers and everything becomes immersed in water,  
13 carry-over and damage the equipment.

14 MR. ALDEMIR: So the failure mode is  
15 important in the sense that, in general, because one  
16 may lead to a safety-related action.

17 CHAIR APOSTOLAKIS: But, I guess, I'm  
18 thinking, again, in terms of traditional modeling.  
19 The two failure modes would be recognized by the  
20 analysts, I think, if they lead to different  
21 sequences. And, again, is the issue of the timing, 43  
22 versus 44 seconds, important, as long as they  
23 recognize that different things may happen, depending  
24 on whether you're high or low.

25 MR. ALDEMIR: If we are running a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 qualitative analysis, you are right. Now if we are  
2 doing a PRA and quantifying it, it makes a lot of  
3 difference in quantification whether you go to one  
4 failure mode or the other failure mode. And we have  
5 --

6 CHAIR APOSTOLAKIS: Yes, but the guy who  
7 does an event tree will do that. He will just -- the  
8 only thing he will ignore, the way I understand it, is  
9 the fact that there is a difference of one second  
10 there to go to one to the other, but you will have  
11 this mode and that mode.

12 MR. HICKEL: This is not unique to  
13 digital. I could postulate the same kind of issue on  
14 an old analog system. The feed reg valve - if the reg  
15 valve locks up, it's going to either fail high or fail  
16 low. The relevance to digital is what I'm trying to  
17 understand.

18 CHAIR APOSTOLAKIS: Yes. But isn't it  
19 correct, though, that if you do a PRA and you  
20 recognize that there are two failure modes, you will  
21 have them there. What you will not have is the  
22 timing, and if the timing is important, I bet you a  
23 good PRA analyst will find a way to include that  
24 there, too. Now just one second difference --

25 MEMBER KRESS: I could see where the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 timing, though, my affect the liability probabilities.

2 MR. ALDEMIR: That's right.

3 MR. ARNDT: There's two primary issues,  
4 yes. In all likelihood, if you've done a good failure  
5 modes and effects analysis, and know the different  
6 kinds of failure modes you might end up with, in a  
7 traditional fault tree-type analysis, you'll have  
8 these different failures. There's two issues. One,  
9 depending upon the complexity, this is actually a  
10 relatively simple set of scenarios. There are some  
11 scenarios that are much more difficult to see just by  
12 looking at and trying to analyze and see whether or  
13 not you have captured all the different failure modes.  
14 Simple systems, much higher probability you're going  
15 to capture all the failure modes; more complicated  
16 systems, more interactions, more dynamics, less  
17 probability.

18 The other thing is, as we've talked about,  
19 if you're trying to quantify the system, it's much  
20 more difficult to get a good quantification if you're  
21 not including all the characteristics of the system,  
22 such as these characteristics. The point is, we're  
23 trying to understand what factors may influence the  
24 level of modeling detail that's necessary. Okay?

25 To answer John's question, a lot of these

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 things - well, actually, the vast majority of these  
2 things are associated with system complexity, not  
3 necessarily digital, although there are some things  
4 that are digital-specific. The fact is, because  
5 digital systems tend to be more complex, at least at  
6 the micro level, you tend to run into more of these  
7 issues. It doesn't mean you can't make a very simple  
8 digital system. Okay?

9 PARTICIPANT: Deja vue, wonderful timing,  
10 one of George's big issues.

11 MEMBER KRESS: We'll let Mario be --

12 MR. ARNDT: I'm going to go through three  
13 or four slides here. This was the issue that  
14 Professor Apostolakis brought up earlier associated  
15 with how we are structuring understanding the system  
16 in terms of what the data is. And in any basic data  
17 generation or data gathering process, you want to have  
18 a systematic methodology to look at what data you  
19 need, which is dependent upon both the system and the  
20 model you're trying to generate the data for. You  
21 choose the model of the system that is reasonable for  
22 the level of detail you need. You choose plausible  
23 modeling assumptions associated with that. You look  
24 at all the parameters that need to be modeled in a  
25 logical way and you work through the process,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 understanding the uncertainties, and trying to  
2 understand the critical parameters, and the  
3 statistical information necessary to get a good  
4 confidence bound on that system.

5 Like any system - in this case we happen  
6 to be choosing two dynamic methodologies, DFM and  
7 Markov - you need models that are supported by  
8 observable credible data. In this particular case,  
9 what we start with is historical plant data and  
10 database information for the components. In this  
11 case, we looked at the RAC Prism database, there are  
12 other databases out there. You then go and look at  
13 the specific plant data, if you have any. This is  
14 important, particularly in digital systems, because  
15 you have to map the entire input space. And in  
16 George's parlance, the context of the system. In  
17 traditional digital or software modeling, you usually  
18 talk about the operational profile. It's basically  
19 the same concept. What is the space of all possible  
20 inputs, and what's the probabilities associated with  
21 those?

22 You can get a lot of that information from  
23 the plant historical data, if you happen to have it.  
24 The information you don't have, or need additional  
25 information on it, you look at other mechanisms

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 associated with it. In terms of hardware, you might  
2 look at stress testing of the system or environmental  
3 testing of the system, in terms of digital systems you  
4 usually look at different kinds of stress testing of  
5 the system, or testing of the various possible failure  
6 modes associated with it. The methodology we chose,  
7 which we happen to like, but is not the only way to do  
8 it, is a fault injection campaign, which looks at the  
9 potential failure modes, both safe failure modes and  
10 unsafe failure modes, and then maps back through a  
11 system model, in this case the Markov model, the  
12 potential input spaces that are necessary to get those  
13 critical output failures. But the purpose here is  
14 simply to augment the data, get a good understanding  
15 of what the failure rates likely will be.

16 CHAIR APOSTOLAKIS: Now there is a number  
17 of diagrams and discussion in the report that I don't  
18 see you having here, so when would be a good time to  
19 raise the questions?

20 MR. ARNDT: Give me two or three slides.  
21 If you have additional questions, we can do it there.

22 CHAIR APOSTOLAKIS: Okay.

23 MR. ARNDT: If you'll note, at the very  
24 end of that package, we have additional backup slides  
25 to talk to these issues, if you want to talk to them.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           MEMBER KRESS: On this slide, though, I  
2 presume coverage means that part of the input space  
3 you didn't fault inject or what? Could you explain  
4 what "coverage" is to me? Let's put it that way.

5           MR. ARNDT: Coverage is a generic term  
6 used in digital system modeling analysis. There's  
7 several different ways you can model it, but it's  
8 basically a determination of the likelihood that  
9 you're not going to detect a failure mode based on the  
10 test that you conducted.

11          MEMBER KRESS: Because you can't do all  
12 the range of inputs that are possible.

13          MR. ARNDT: That's correct.

14          CHAIR APOSTOLAKIS: This is where I have  
15 a problem with the report. On page 2-30, there's an  
16 incredible statement. "Suppose if we test and get no  
17 undetected failure modes, by the fundamental law  
18 testing, testing reveals the presence of errors, not  
19 the absence of them. We must establish a lower bound  
20 for the non-coverage one minus C termed with a non-  
21 zero number. What is often done is to assume that one  
22 undetected failure occurred in the testing." This is  
23 incredible that we see something like this now. We've  
24 been discussing this in PRA space for decades, and to  
25 say that I have zero failures; therefore, I will

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       assume one is just something -- and then it says,  
2       "This assumption has a well-founded statistical theory  
3       and legacy, Reference 54", which I found. And the  
4       title reference is "Estimating the probability of  
5       failure when testing reveals no failures", and I  
6       couldn't find anywhere the suggestion that you assume  
7       one failure. So this is a completely false statement,  
8       and I don't know why it's being made. And as far as  
9       I'm concerned, it undermines the credibility of the  
10      whole thing.

11               MR. ELKS: If I may --

12               CHAIR APOSTOLAKIS: Yes, you may. You can  
13      come to the microphone, identify yourself.

14               MR. ELKS: Carl Elks, University of  
15      Virginia. We put that section in there, and I'll be  
16      the person identifying myself as citing that reference  
17      and using that. That was Dr. Dave Nichols at the  
18      University -- I mean, at William and Mary University,  
19      who I was working with at the time when we were doing  
20      this type of work.

21               Essentially, this is a software testing  
22      technique that has tried to establish through Bayesian  
23      methods when you are trying to test something and you  
24      do not get any type of estimation of any type of  
25      failures, what's the worst case that you can do on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this? Now this was applied on a number of different  
2 software testing techniques, as well, on fault  
3 tolerance techniques. That's why I stated the case  
4 that there is a legacy of using this. We have used  
5 this, also, at the University of Virginia on several  
6 different fault tolerant architectures when we did  
7 lots and lots of testing on them, and we found no  
8 errors to establish, again, a bound for this type of  
9 thing.

10 Now does that mean that we're going to use  
11 that particular technique all the time? No, that was  
12 a suggestion that we could use based upon this type of  
13 model that we're working on, so I'm not suggesting to  
14 the committee at all that this particular technique is  
15 the only technique we can use. I'm suggesting that  
16 that has been used. It has some statistical reference  
17 in legacy in the assessment of safety critical and  
18 reliability systems.

19 CHAIR APOSTOLAKIS: But the paper that is  
20 being cited is a rigorous paper using Bayesian methods  
21 deriving distributions using zero failures or  
22 findings. And if one wanted to be conservative, one  
23 could select a percentile of this distribution and use  
24 that, and not assume that there is one failure, which  
25 is something that really is arbitrary as anything. So

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I -- anyway, okay.

2 MR. ELKS: Okay.

3 CHAIR APOSTOLAKIS: Thank you.

4 MR. KEMPER: This is Bill Kemper, very  
5 good comment. Thank you for the comment, George.

6 Thank you.

7 CHAIR APOSTOLAKIS: There are many other  
8 questions I have on this particular section, 2.4.2.  
9 And I don't know what the best way is. Again, and I  
10 have asked this question in the past - there are three  
11 states. Okay? Normal, fail safe failure, dangerous.  
12 And then it says, "Associated with each state  
13 transition is a parameter that indicates the rate  
14 lambda at which the failure occurs. And again, I'm  
15 trying to understand, what does that mean? And then  
16 an hour later, I read the BNL report on data, and they  
17 say that they found a 36 percent of failures due to  
18 requirements analysis, 27 percent are due to faults  
19 that are introduced during upgrades or modifications.  
20 And I'm scratching my head now, does this lambda  
21 include these things? What does it include, is it  
22 hardware failures only? I mean, on the one hand, I  
23 have BNL telling me that 36 percent of failures are  
24 due to requirements, which I knew, maybe not the 36  
25 percent, but I knew it was a pretty high percentage.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 And now I see a transition rate that tells per unit  
2 time, there is a constant probability of going from  
3 this state to that state. And we have raised this  
4 issue before, that before we jump into these Markov  
5 models, we really have to scrutinize the meaning of  
6 these transition rates. I mean, it's a convenient  
7 mathematical tool, I admit, but what does it mean?

8 MR. ARNDT: Okay. Let me try and address  
9 this briefly. Obviously, if you want to go into a lot  
10 of detail, depending upon the amount of time we have  
11 today, we can have a separate discussion on this  
12 specific issue, if you like. But the work that's done  
13 by BNL is looking at specific - how you add up those  
14 different failures, what kind of failures are they,  
15 what kind of failures you need to look at, et cetera.  
16 The Markov and DFM modeling methodologies are system-  
17 based modeling methodologies. They look at how does  
18 the system as a whole fail, so the various failure  
19 rates, and we don't need to have them be constant  
20 failure rates, they can be - or transition rates.  
21 They can be non-constant, if we choose to. We simply  
22 are using that as a methodology right now, but if the  
23 data indicates that we need time-dependent failure  
24 rates, we can do that.

25 Looking at how you transition from one

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 state space to another, those failure rates, or  
2 transition rates, depending on whether it's going to  
3 a fail state or not, are a particular failure. The  
4 stuff we're talking about in the BNL can be caused by  
5 a number of different things. It could be caused by  
6 hardware failure, could be caused by a system failure,  
7 could be caused by interaction between the hardware  
8 and the software. What we're trying to do in the BNL  
9 failure database work is understand how do you  
10 populate that failure database, and what has to be  
11 included in it? Some of those will be failures that  
12 are driving a system from one state to another.

13 CHAIR APOSTOLAKIS: But, Steve, if we have  
14 design errors where design is used in the broader  
15 sense, includes requirements, includes specification  
16 errors and so on, and these are a significant  
17 percentage of the observed failures in the past,  
18 failure rates do not account for those, because with  
19 a failure rate you are saying my system is working  
20 now, and there is a certain probability per unit time  
21 that it will move to some other state.

22 MR. ARNDT: Correct.

23 CHAIR APOSTOLAKIS: Here it's working now,  
24 but if it enters another regime where there is,  
25 indeed, a specification error, it will not work,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 period. There is no -- so what is the time? Is it  
2 the transition rate to that regime, in which case the  
3 fault manifests itself?

4 MR. ARNDT: Yes, exactly.

5 CHAIR APOSTOLAKIS: But that's the kind of  
6 thing I'd like to see in these reports. I mean, don't  
7 just throw out this is -- then there is other  
8 statement, "The probability of being in a fail safe  
9 state or a fail unsafe state can be solved using  
10 sarcastic Markov modeling." How on earth do you know?  
11 What do you mean, that's a postulate on your part.  
12 This scrutiny of the assumptions is something that I  
13 would really like to see, and have a detailed scenario  
14 of what we mean by these failure rates. And when you  
15 have -- if you look at the BNL report, for example,  
16 and you say yes, this is the rate of going into that  
17 area where there may be an error, pick a few and see  
18 whether that kind of interpretation or explanation  
19 makes sense, because we are really -- I mean, this is  
20 very important stuff, and there is a danger here, not  
21 that you guys are doing that, of course. I don't  
22 expect you to do that, but it's the danger that  
23 because there is a model some place, we're going to  
24 force this -- you know the Procrustian bed?

25 MR. ARNDT: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIR APOSTOLAKIS: Okay. Everybody knows  
2 about the Procrustian bed now. So that's good, so  
3 this is the kind of thing that bothers me when I read  
4 this.

5 MR. ARNDT: Okay. We can articulate that  
6 much better.

7 CHAIR APOSTOLAKIS: I mean, the CIs, and  
8 the other question, of course, is okay, I inject the  
9 fault, I find the problem. Don't I fix that if I find  
10 the problem?

11 MR. ARNDT: Yes, you do.

12 CHAIR APOSTOLAKIS: So how does that play  
13 into all this? I mean, if every time I find an error  
14 - you see, in standard PRA with hardware failures -  
15 okay, the pump fails. We expect that, it's random  
16 failures and so on. The nature of the problems you  
17 are finding here is different.

18 MR. ARNDT: That's correct. It's  
19 different.

20 CHAIR APOSTOLAKIS: And you'd fix them, so  
21 the question is now what do I do after I fix them? Do  
22 I say I found three faults, but then I fixed them, so  
23 what's going on here? By the way, NASA has the same  
24 problem as we speak, because they fix everything.  
25 Okay? They change the design of the system, and some

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 people claim then the past record doesn't apply.

2 MR. ARNDT: And there's really two things  
3 we're trying to understand to support these kinds of  
4 modeling issues. One is, what is the likelihood of  
5 faults remaining in the system we've tested, and there  
6 are methods associated with that. And the other thing  
7 is, what is the likelihood that we haven't tested  
8 everything, which is basically the coverage concept.  
9 You develop a structure by which you go from the  
10 failed states that you know would be bad, through a  
11 model to understand what input space you need to test,  
12 and you test a significant fraction of that.

13 CHAIR APOSTOLAKIS: No, I understand that,  
14 and I think it's a very difficult problem. I mean,  
15 the step of measuring, go to a model, and what kind of  
16 model. But I'm not saying that the fault injection  
17 method is no good, but you really have to be careful  
18 what information you're getting out of it, and how  
19 you're going to use it.

20 MR. ARNDT: Exactly.

21 CHAIR APOSTOLAKIS: Not arbitrarily say  
22 I'm going to assume this, I'm going to assume that,  
23 and keep going. I mean, that's not - especially in  
24 this regulatory space, that's not the way to do  
25 things.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ARNDT: Right. As I think I mentioned  
2 earlier, the tool that we developed, obviously, for  
3 our independent assessment may not be the same tool or  
4 same strategy that the licensees choose, but we want  
5 to understand the capabilities of the various  
6 methodologies.

7 CHAIR APOSTOLAKIS: Now there is a table  
8 of failure rates presumably produced by default  
9 injection method on page 2-34, and there are some -- I  
10 mean, the rates are on the order of 10 to the minus 6  
11 per hour, but two questions here. One, they seem to  
12 be focused on hardware components. They don't include  
13 software failures. Right? Is that correct?

14 MR. ARNDT: This particular methodology  
15 looks at the system as a whole.

16 CHAIR APOSTOLAKIS: But these components  
17 are part of the controller. Right?

18 MR. ARNDT: Yes.

19 CHAIR APOSTOLAKIS: But it does not --  
20 they don't include software faults, where all the  
21 components are working but there is an error --

22 MR. HICKEL: You've got a bug.

23 CHAIR APOSTOLAKIS: Yes, you've got a bug.

24 MR. ARNDT: Right. That particular chart  
25 does not, no.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIR APOSTOLAKIS: It does not.

2 MR. ARNDT: But the methodology looks at  
3 any kind of failure, and then it traces it backwards  
4 through the system to determine whether or not that  
5 failure manifests itself by a software bug, a firmware  
6 bug, a hardware bug, a random failure of whatever.  
7 This particular one did not do that.

8 CHAIR APOSTOLAKIS: Okay. Now again, when  
9 you see something like that, there is a great  
10 temptation to go to the BNL reports. And on page 14  
11 of the collection of failure data, there are all sorts  
12 of failure rates for various components, and how do  
13 they compare with this table, 2.4.1 in this report?  
14 This is the kind of coordination, it seems to me, that  
15 maybe you haven't done yet because these things are  
16 still being produced, but at some point, you can't  
17 have a table in the report from BNL that has numbers  
18 for all kinds of things, and then another table with  
19 different numbers, unless there is a reason.

20 MR. ARNDT: Yes.

21 CHAIR APOSTOLAKIS: If there is a reason,  
22 then that's fine. So that's a comment here, that  
23 these reports, they have to feed into each other.

24 MR. ARNDT: Yes. Absolutely.

25 CHAIR APOSTOLAKIS: And the BNL report, of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 course, reports actual events.

2 MR. ARNDT: Yes.

3 CHAIR APOSTOLAKIS: As opposed to  
4 producing using fault injection methods and so on,  
5 which on the other hand, is very system-specific,  
6 which has a great value.

7 MR. ARNDT: Yes. Exactly.

8 MR. KEMPER: This is Bill Kemper. If I  
9 can just interject something here; we do intend to go  
10 through the BNL information in much more detail,  
11 George.

12 CHAIR APOSTOLAKIS: Good.

13 MR. KEMPER: So maybe some of these  
14 questions might be answered as Todd and BNL goes  
15 through that information.

16 MR. ARNDT: Okay.

17 CHAIR APOSTOLAKIS: But again, Steve, in  
18 Chapter 2 of this report, using whatever method, there  
19 are failure rates of components and coverage factors,  
20 and all these refer to hardware. Is that correct? No  
21 faults in logic, or bugs, or whatever.

22 MR. ARNDT: The point of this report is to  
23 demonstrate the methodology, not to talk about the  
24 results. There will be a subsequent report that talks  
25 about the results of this benchmark.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIR APOSTOLAKIS: No, I understand that,  
2 but if the methodology is limited to hardware failure,  
3 that's something we want to know.

4 MR. ARNDT: No, it's not.

5 CHAIR APOSTOLAKIS: Okay. By the way, you  
6 tell me when a convenient point is to take a break.

7 MR. ARNDT: Okay.

8 CHAIR APOSTOLAKIS: You decide.

9 MR. ARNDT: Shortly.

10 CHAIR APOSTOLAKIS: Shortly.

11 MR. ARNDT: I've got about three or four  
12 more slides I want to do.

13 CHAIR APOSTOLAKIS: Okay.

14 MR. ARNDT: Briefly, the methodology is  
15 here. Since we've talked about a lot of this stuff,  
16 I will go through it real quickly. As we mentioned  
17 earlier, we developed a model of how the system works,  
18 state space model of how the system works. It can be  
19 anything you want. We're using a Markov model. You  
20 developed a statistical model associated with what you  
21 need to test based on different kind of failure states  
22 you have, how you do the modeling. You develop an  
23 operational profile; that is to say, the context of  
24 the system, what are the inputs, what are the  
25 different inputs it's going to see, what are the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 different interactions it's going to have? You  
2 construct a fault list based on how the system will  
3 interact and what potential failures you're going to  
4 have, back that through your model and come up with a  
5 list of potential faults you need to inject. You look  
6 at what is known as fault equivalents, which is a  
7 methodology to look at how the different input states  
8 would map to different output states, the same way you  
9 would do Latin Hypercube or various kinds of modeling  
10 methodologies to improve the statistics, a Monte Carlo  
11 calculation. You use that information to get for  
12 these systems the list of faults that you would need  
13 to do, you run the experiment, and you get the data.

14 CHAIR APOSTOLAKIS: So this is a design of  
15 a fault injection process.

16 MR. ARNDT: This is a design of a fault  
17 injection process.

18 MR. HICKEL: Let's clarify, when you say  
19 "a fault injection process", are you talking about  
20 faults that are -- where somebody corrupts maybe,  
21 let's say the set of stored constants, and then you  
22 let the thing do it?

23 MR. ARNDT: That would be one way to do  
24 it, yes.

25 MR. HICKEL: Or are you talking about

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 faults injected by simulating a failed sensor input,  
2 or both?

3 MR. ARNDT: Both.

4 MR. HICKEL: You're doing both.

5 MR. ARNDT: You look at all the different  
6 possible faults associated with the system. It could  
7 be failed inputs, it could be failed outputs, it could  
8 be corruptions, it could be software failures if you  
9 choose to do it that way.

10 CHAIR APOSTOLAKIS: But these don't  
11 necessarily have to be failures. I mean, I can select  
12 the values of the parameters that are extremely  
13 unlikely, and I can run the program. That's not part  
14 of fault injection. That's not a fault.

15 MR. ARNDT: No, that's not a fault.

16 CHAIR APOSTOLAKIS: It's a rare event.

17 MR. ARNDT: That's the operational  
18 profile. That's the space of inputs that's the system  
19 could possibly see.

20 CHAIR APOSTOLAKIS: Yes, I understand.

21 But people do this as part of this --

22 MR. ARNDT: Yes. And the way you  
23 construct that is you look at both operational  
24 history, what has the system seen, and also what  
25 inputs will drive you to failures.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIR APOSTOLAKIS: Now shouldn't there --  
2 I'm sorry. Complete your thought.

3 MR. ARNDT: No, that's fine.

4 CHAIR APOSTOLAKIS: Okay. Shouldn't there  
5 be a statistical model there? It seems to me, one  
6 great challenge here is that there is a Box 8A or  
7 something that says we fix the faults. Yes, I mean,  
8 it's not that you are producing K failures and then  
9 trials, and then you go back and say well, now I'll do  
10 my Bayesian dance and so on. You fix those. So now  
11 what does that mean? Now what --

12 MR. HICKEL: Like George LaLuce and the  
13 rectification of ATWS 20 years ago.

14 CHAIR APOSTOLAKIS: Exactly. Exactly.  
15 Yes, sure. Yes, that's a similar thing. And the  
16 models I have seen out there, they are full of  
17 assumptions about these things, although this paper  
18 that was from the - I think it was from the IEEE -  
19 yes, "Transactions in Software Engineering" - that was  
20 a pretty serious paper, by the way.

21 MR. ARNDT: There's been some fairly  
22 significant work in this area. And the concept of  
23 fault injection goes back to the paper by Voso a  
24 number of years ago that looked at how this works.  
25 And there's been a lot of work in this area, and the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 idea is both to have a very high likelihood of  
2 uncovering failures, but also understanding them at a  
3 much level greater detail what that tells you about  
4 the future behavior of the system.

5 CHAIR APOSTOLAKIS: That's right.

6 MR. ARNDT: And that's what we're  
7 basically using it for in this application. Let me  
8 step through this, as basically the methodology that  
9 is used to go with that chart.

10 CHAIR APOSTOLAKIS: Yes, I think we  
11 discussed this.

12 MR. ARNDT: One of the big issues is the  
13 operational profile or the context. In our case,  
14 we're actually collecting data from the plant that we  
15 got the system from, as well as understanding the  
16 other possible assessments, and all that is at the  
17 control of the assessor.

18 This is just basically a chart that goes  
19 through and talks to the fact that we're not going to  
20 use a complete representation. We're going to break  
21 it down into modules or super components.

22 CHAIR APOSTOLAKIS: Yes, but this is where  
23 I got confused, as I said earlier. I mean, in Chapter  
24 2, I thought you're presenting the system, the control  
25 laws and this and that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ARNDT: Right.

2 CHAIR APOSTOLAKIS: And then I saw this  
3 Markov thing, and confused -- there was a Chapter 4 in  
4 Markov.

5 MR. ARNDT: Right. Again, this is simply  
6 one way of representing the state space.

7 CHAIR APOSTOLAKIS: But are these rates  
8 that are produced in Chapter 2 used by Professor  
9 Aldemir in his Chapter 4?

10 MR. ARNDT: Yes.

11 CHAIR APOSTOLAKIS: So maybe you should  
12 move them then, because they are not used by DFM, I  
13 don't think. They are used by DFM?

14 MR. ARNDT: Yes. That's why it's  
15 structured this way.

16 CHAIR APOSTOLAKIS: Okay.

17 MR. ARNDT: We'll get to that after the  
18 break.

19 CHAIR APOSTOLAKIS: We'll get to that,  
20 yes.

21 MR. ARNDT: This is just a representation  
22 of how we put the various blocks together, the  
23 sensors, the main computers.

24 CHAIR APOSTOLAKIS: Well, this is it now.  
25 We have failure, or transition rates, or failures

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 rates for each one of these boxes.

2 MR. ARNDT: We're going to have.

3 CHAIR APOSTOLAKIS: Well, that's what  
4 Chapter 2 does. Right?

5 MR. ARNDT: That's the methodology we're  
6 going to use to integrate the data we have with the  
7 testing we're going to do.

8 CHAIR APOSTOLAKIS: Yes. And, again, the  
9 issue of software problems is not covered by this  
10 picture.

11 MR. ARNDT: Let me -- this is one example  
12 of a state space diagram. They're functional states.  
13 You have an operational state, you have an operational  
14 state but with a loss of input, you have an  
15 operational state with a loss of output, you have an  
16 operational state that is unable to detect internal  
17 failures. Doesn't matter whether this is a hardware  
18 failure, rather hardware fault or software fault, or  
19 how the fault occurs in this particular methodology.  
20 It matters that the system goes from an operational  
21 state to a not operational state, or failed state  
22 based on some fault in the system. It doesn't matter  
23 in this particular model --

24 CHAIR APOSTOLAKIS: But, again, the  
25 question is, when you say "some fault", can you model

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 all faults through the lambdas and the CIs. That's  
2 really the question.

3 MR. ARNDT: In theory, yes.

4 CHAIR APOSTOLAKIS: Well, but I'd like to  
5 see some discussion of that, a little deeper.

6 MR. ARNDT: Okay.

7 CHAIR APOSTOLAKIS: Why you can do that.  
8 And the CIs there, they really have a tremendous  
9 impact. I mean, the CI itself is .99, .999, so one  
10 minus that, you're talking about 10 to the minus 2,  
11 and 3, and so on. And, again, they have to be  
12 scrutinized why the number is .99.

13 MR. ARNDT: Right.

14 CHAIR APOSTOLAKIS: Okay. Good.

15 MR. ARNDT: And this is just the chart  
16 that you talked about. And at this point, we're going  
17 to talk about the PRA model and the actual modeling  
18 methodologies, and this is a good time for a break.

19 CHAIR APOSTOLAKIS: Very good. So we will  
20 reconvene at 10:25.

21 (Whereupon, the proceedings went off the  
22 record at 10:10:18 a.m. and went back on the record at  
23 10:28:12 a.m.)

24 CHAIR APOSTOLAKIS: Okay. Let's go back  
25 in session. Steve.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ARNDT: We're going to continue with  
2 Professor Aldemir talking about the PRA model and the  
3 DFM and Markov analysis, but before we start that, I  
4 thought it would be profitable for the Subcommittee to  
5 talk a couple of minutes about fault injection  
6 methodology; in particular, just to answer a few of  
7 the open questions from the last discussion. If this  
8 is not enough, we can have this as a separate topic at  
9 our next meeting. We'd probably want to do that,  
10 anyway. But while we're here, let's take five minutes  
11 and talk to a couple of the specific issues.

12 Carl Elks from the University of Virginia  
13 is here with us, and he will talk for a couple of  
14 minutes on that and answer your direct questions.  
15 Carl.

16 MR. ELKS: Okay. My name is Carl Elks  
17 from the University of Virginia. Just to give a  
18 little background, I started out doing fault injection  
19 experimentation and testing at NASA Langley Research  
20 Center in the early 90s, so I have some experienced  
21 based on this, along with modeling fault tolerant  
22 safety critical systems, and transitioning into formal  
23 methods at the University of Virginia, and also  
24 experimentation into safety critical systems.

25 The last discussion, we sort of talked

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 about conceptually what fault injection is, but I  
2 wanted to kind of just put a little finer point on  
3 some of the issues. Fault injection is a specific  
4 kind of testing regime to collect information out of  
5 the system to go into the models that we were talking  
6 about, specifically some of the Markov models, and  
7 even the dynamic flow-graph models. So the two  
8 parameters of interest to us as fault injection  
9 experimentalists are coverage, and we define coverage  
10 as the probability that an error detection mechanism  
11 or a fault detected given that a fault has occurred in  
12 the system is what we typically define as coverage.  
13 That is of importance to us because that also defines  
14 how well the system is responding to specific types of  
15 faults and fault classes.

16 Traditionally, fault injection has really  
17 addressed the issue of hardware-type faults, and other  
18 types of faults. There is work, and like Steve said,  
19 we're trying to transition this into the area of  
20 certain types of possibly design-type faults. That is  
21 certainly something that we are working with this  
22 committee to kind of address that. And more  
23 importantly, I think what Dr. Apostolakis said, that  
24 we really need to be mindful of, is we really need to  
25 state what the assumptions are behind all of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 models that we're creating here, the data that is  
2 going into those models, and how that data has to  
3 instantiated into models to get credible results out  
4 of the system. And so one of the things that we have  
5 been doing at the University of Virginia is trying to  
6 develop a process by which these assumptions are  
7 explicitly stated. And we probably haven't done a  
8 great job of presenting that here today, but I wanted  
9 to state that that is a very, very important part of  
10 the research, to be very, very rigorous and scientific  
11 about how this information is generated, what  
12 assumptions are made there. And more importantly, can  
13 those assumptions be challenged and discharged with  
14 credible evidence.

15 CHAIR APOSTOLAKIS: Now the definition  
16 that is given in the report, for an example it says,  
17 "Say we inject 100 faults into the feedback loop, and  
18 we get two erroneous responses that were not detected  
19 by the system, then the non-coverage one minus C for  
20 that failure model is .02 ratio, and the coverage is  
21 .98." So the idea then of C is that you inject the  
22 number of faults addressing a specific potential  
23 failure mode?

24 MR. ELKS: That's correct.

25 CHAIR APOSTOLAKIS: Which you don't know

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in advance.

2 MR. ELKS: Well, one of the things that  
3 Steve had me do early on in this project is to try to  
4 look at what I call generic failure mode taxonomy of  
5 INC systems, which would help us identify what are the  
6 important failure modes of this particular system, so  
7 that we could have some guided representation of  
8 exactly where to go into the system and inject these  
9 types of failures.

10 There are a number of different ways to  
11 conduct fault injection campaigns. One of them is  
12 what I call this guided fault injection. We're  
13 actually looking at particular hazards of the system  
14 that are either known, postulated, or some other  
15 theoretical method to say we need to look at this and  
16 go into the system and try to stimulate those and see  
17 what the responses are.

18 There's what I call the old school method,  
19 which is more random fault injection, where we  
20 statistically just go in and perform fault injections  
21 anywhere into the system and see what the response is.  
22 That type of fault injection is somewhat fruitless  
23 because you get a lot of non-responses out of the  
24 system, because you might be putting faults into  
25 spaces where the program is not executing. You might

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 be putting it into spaces where there is actually no  
2 -- the timing and the actual data do not line up so  
3 that you'll get a response.

4 What we have tried to do at the University  
5 of Virginia is to use a combination of those two,  
6 based upon the information that comes from the system  
7 plant engineers who tell us, what is the most -- what  
8 do you worry about the most happening with this  
9 system? Give us your most dangerous fault list, so to  
10 speak. That's what I call it.

11 When I go in and talk to plant engineers  
12 or system engineers, I want them to give me this type  
13 of information so that I, as an experimentalist, and  
14 as a system analyst, can begin looking at the  
15 hardware/software interactions of the system to  
16 determine what types of things could go wrong to  
17 produce that most dangerous fault list.

18 CHAIR APOSTOLAKIS: Okay. If we pursue  
19 this example a little further, you inject the 100  
20 faults.

21 MR. ELKS: Yes.

22 CHAIR APOSTOLAKIS: Ninety-eight of them,  
23 the system becomes aware of them. That's what you  
24 mean.

25 MR. ELKS: It's detected by the error

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 detection mechanisms.

2 CHAIR APOSTOLAKIS: How do I calculate  
3 this transition rate lambda?

4 MR. ELKS: You don't get transition rate  
5 lambda out of fault injection experiments.

6 CHAIR APOSTOLAKIS: Oh, okay.

7 MR. ELKS: What you get out -- you  
8 essentially get the coverage.

9 CHAIR APOSTOLAKIS: How do you get the  
10 transition rate?

11 MR. ELKS: The transition rate is input to  
12 the model. It really has nothing to do with the fault  
13 injection campaigns. The fault injection campaigns  
14 are strictly -- it's a stimulus response-type of  
15 testing-type thing. I'm trying to test the error  
16 detection mechanisms in the system to determine if  
17 they can detect certain types of faults.

18 CHAIR APOSTOLAKIS: So Table 2.4.1 then,  
19 the dependability parameters for the DFWCS system,  
20 where do these come from? I mean, I understand now  
21 where the Cs came from, where did the lambdas come  
22 from?

23 MR. ELKS: The lambdas come from,  
24 basically, talking with the plant engineers.

25 CHAIR APOSTOLAKIS: Oh, they're expert

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 opinions?

2 MR. ELKS: Collected on actual collected  
3 failure data rates, and also from the RAC Prism  
4 database of those two, so they're estimates based upon  
5 actual data, and actual database data.

6 CHAIR APOSTOLAKIS: It would be useful to  
7 see what data are used to produce this at some point.

8 MR. ELKS: This also opens up another  
9 issue. I think Dr. Apostolakis talked about this, was  
10 the viability of the failure rate data. I mean, these  
11 particular numbers that we have here come from both  
12 historical plant data, and out of a commercial  
13 database. It is known that these types of failure  
14 rates have a certain amount of uncertainty to them,  
15 because they're taken across a wide spectrum of  
16 applications, and everything like that. So when we  
17 typically do our analysis, either reliability or  
18 safety analysis, we do sensitivity analysis also with  
19 respect to some of these failure rates and coverage  
20 rates to see where the system is most sensitive to a  
21 particular failure rate, or a particular coverage  
22 rate, because that is also information that you can  
23 feed forward into the process to say this particular  
24 component has a failure rate, but if we vary that  
25 failure rate, the system reliability is impact

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 greatest on this particular two parameters, so it's  
2 also a way of determining certain other aspects of the  
3 system that you just don't plug numbers into the model  
4 and get a number out. You kind of have to look at it  
5 in also in kind of what I would call a qualitative  
6 way.

7 CHAIR APOSTOLAKIS: So it seems to me that  
8 a very important question we have to address at some  
9 point is these lambdas.

10 MR. ELKS: Yes.

11 CHAIR APOSTOLAKIS: How they relate to  
12 what Brookhaven is doing, or other information, or  
13 whatever.

14 MR. ARNDT: We will at our next meeting  
15 have a specific session on data, both in terms of  
16 what's out there --

17 CHAIR APOSTOLAKIS: That mic is not  
18 working.

19 MR. ARNDT: We'll take as an action for  
20 our next meeting to have a specific session to talk  
21 about both what the data is out there, how we propose  
22 to use the data for our own internal independent  
23 validation methodology, and issues for the regulatory  
24 guide on data. And we'll talk about this, we'll talk  
25 about the more generic data work that Brookhaven is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 doing, and roll that in. You'll get some of that in  
2 the discussion later this afternoon, but we'll take an  
3 action to have a specific session on that next time.

4 CHAIR APOSTOLAKIS: Very good.

5 MR. ELKS: So I guess the last final thing  
6 I would like to say is this issue between the  
7 hardware/software interaction. The way that we inject  
8 faults into the system can be represented as some type  
9 of corruption of a register file and a microprocessor,  
10 or anything. And we typically represent that as kind  
11 of like some type of hardware failure in a  
12 microprocessor, and I'm using a microprocessor as an  
13 example here as something that we inject faults into.

14 In addition, we can also kind of represent  
15 - there's two ways to kind of represent sort of  
16 software-type failures, and those have to do with sort  
17 of like constructs that could be into the system that  
18 are activated by certain types of profiles that are  
19 going on in the system, as well. That's two different  
20 distinctions that we make. And the third thing that  
21 I would like to make is, is that as you're conducting  
22 this experiment, as I'm going through injecting errors  
23 into the system and everything like that, there's a  
24 very likely, and we've seen this at the University of  
25 Virginia, and I've seen it at NASA - it's very likely

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that you find that an error detection mechanism or  
2 some other component of the system behaves in a way  
3 that it wasn't intended. It's a specification error,  
4 it's a design error at that point in time. And we  
5 look at it and we go oh, okay. This is a true bug  
6 into the system. So the technique addresses both  
7 types of faults, but in a legacy sense, it originally  
8 started out as hardware and has since transitioned in  
9 to represent these hardware/software-type interaction  
10 faults, as well.

11 CHAIR APOSTOLAKIS: Great. Thank you. So  
12 this is an action item for the future.

13 MR. ALDEMIR: Well, what I'm going to  
14 start talking about is the example PRA model that we  
15 have adopted. And the reason for adopting a PRA model  
16 is that eventually we would like to quantify the  
17 effects of digital versus analog, or the effect of  
18 switching over to a digital system on the overall core  
19 malfrequency and the large early release frequencies.  
20 The plant we chose is a NUREG 11.50 plant. It's a  
21 three-loop design, and we are assuming that the  
22 control system is applicable to each of the loops.

23 So the example, the event that is used in  
24 this report that was being referred to is a turbine  
25 three trip event. We talked about it earlier. This

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is the conventional event tree analysis of the event,  
2 and since everybody is familiar with this procedure  
3 here and the events, I'm not going to go through that.  
4 But basically, we tried to keep the water level in the  
5 steam generator using the oscillator feedwater system.  
6 If it doesn't work, then we switch over to main  
7 feedwater system, making the turbine active, and then  
8 you have another number of sequence of events  
9 following that, which are not going to be all that  
10 much relevant to our example. This is the rest of the  
11 turbine event tree, and as I said, as far as our  
12 control system is concerned, we are not so much  
13 concerned with this part of the event tree.

14 Now the methodologies we have identified  
15 earlier, and these were among the conclusions of NUREG  
16 69.01, is that the dynamic flow-graph methodology and  
17 Markov methodology, and as distinct from what has been  
18 discussed earlier with respect to Chapter 2 of this  
19 report, that is a methodology to decide what sort of  
20 faults to inject, and where to inject them. This  
21 Markov methodology is to predict system reliability,  
22 or rather, is a reliability model of the system, and  
23 it needs input from the earlier discussion of data  
24 generation.

25 The first methodology, dynamic flow-graph

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 methodology, was developed by ASCA in the early 90s to  
2 support risk assessment. The software was used in  
3 safety analysis of several software control systems,  
4 and the results validated dynamic flow-graph's  
5 methodologies, ability to handle software/hardware  
6 interactions, and to perform dynamic analyses,  
7 specific applications, digital feedwater control  
8 system in a pressurized water reactor which was  
9 published as NUREG/CR 6465, control system for the  
10 combustion module, one system of a shuttle experiment.

11 The important features, graphic modeling  
12 environment and automated analysis engine that can  
13 handle cause/effect relationships, time-dependent  
14 relationships, feedback loops, the state vectors  
15 represent key process parameters, and mapping between  
16 the state vectors governed by multi-rated logic rules  
17 which are represented through decision tables,  
18 transfer boxes, transition boxes in the graphical  
19 mode. And we'll see examples of these in a little  
20 while.

21 Once you construct the DFM dynamic flow-  
22 graph model, you can either analyze it inductively or  
23 deductively. Now in the inductive mode, it's the  
24 forward-tracking/discrete-event-simulation mode, you  
25 are trying to identify the possible combination of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 components failures, even initiating event, and  
2 deductively you are going backwards and given the  
3 undesirable event you are trying to identify what sort  
4 of event sequences have caused it. And you can  
5 interrogate the dynamic flow-graph methodology model  
6 several different ways, and again, as I indicated,  
7 deductively/inductively. And also, there is another  
8 mode that will come later on that will allow you to  
9 decide what type of testing you can perform.

10 In the deductive mode, the software  
11 identifies prime implicants, and these are distinct  
12 from minimal cut sets in the sense that they are  
13 multi-valued logical equivalent of minimal cut sets.  
14 And, particularly, they become important when you have  
15 the events - the importance of time-dependence of  
16 events, like the example I told you. In fact, we have  
17 identified - when I say we, I mean ASCA has identified  
18 these two different failure modes that differed by a  
19 second or so by using dynamic flow-graph methodology,  
20 and I'll come to that in a little while.

21 This is a fairly standard approach.

22 CHAIR APOSTOLAKIS: The first bullet is  
23 interesting. Do you have probabilities for all the  
24 events that appear in the prime implicants? That's  
25 multi-valued, right?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ALDEMIR: Well, the prime implicants  
2 will depend on what sort of basic event, so to speak,  
3 we have considered, what sort of failure modes, what  
4 the state space consists of. So if we have data for  
5 the state space, this will feed input -- this will  
6 feed into the DFM. So basically, lambda times Delta  
7 T, since we are doing discrete-event-simulation, is  
8 going to give you those probabilities, the lambdas  
9 that we talked about earlier times the time increment.

10 CHAIR APOSTOLAKIS: They don't rely on  
11 transition rates here, do they?

12 MR. ALDEMIR: Well, in the quantification  
13 process -- well, DFM you can use in different modes.  
14 You can use it for qualitative analysis, get the prime  
15 implicant, or you can quantify the prime implicants,  
16 and they --

17 CHAIR APOSTOLAKIS: Then these will have  
18 events such as this parameter is between A and B. And  
19 there is a probability that that parameter is there.  
20 Then at the next step, there is a transition  
21 probability that a parameter moves to another  
22 interval? That's where I get lost.

23 MR. ALDEMIR: Well, we are not -- okay.  
24 That would be the initiating event, distribution. Now  
25 if we're talking about - if the system states include

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 parameter values being in certain intervals, and are  
2 you referring to the dynamics of it, or are you  
3 referring to the modeling parameters?

4 CHAIR APOSTOLAKIS: All the parameters are  
5 selected at the beginning.

6 MR. ALDEMIR: Okay. So we're talking  
7 about the modeling parameters --

8 CHAIR APOSTOLAKIS: Yes. Yes.

9 MR. ALDEMIR: -- that represent the  
10 dynamics. At this point, neither of these  
11 methodologies - well, I have to clarify that later on  
12 - Markov does it a little bit the way I'm going to  
13 define it, but that is not our emphasis in the  
14 modeling. We're assuming that those are given. Now  
15 what would happen if they change would be the subject  
16 matter of a sensitivity analysis.

17 CHAIR APOSTOLAKIS: At some point it would  
18 be useful to try to relate the prime implicants to the  
19 states that you have in the Markov model.

20 MR. ALDEMIR: Actually, what we are  
21 planning to do is compare the prime implicants --  
22 actually, you will see in a little while that both  
23 Markov methodologies, and I'm referring to the one in  
24 Chapter 4 of the report, and DFM, are pretty much the  
25 same thing. We can produce, the results of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 exchangeable. One has some advantage in a certain  
2 area, and the other one has advantage in a certain  
3 area, but we are doing pretty much the same thing. In  
4 fact, what we are planning to do is to generate prime  
5 -- Markov can generate prime implicants, as well. So  
6 we will generate independently these prime implicants,  
7 compare them, and resolve the differences. That's one  
8 of the exercises that we are planning to do. We have  
9 already done it in a partial way, but since we are  
10 doing this independently purposefully so that we don't  
11 influence each other, we have assumed different  
12 initial conditions.

13 CHAIR APOSTOLAKIS: Does the Markov model  
14 use multi-valued logic?

15 MR. ALDEMIR: Yes.

16 CHAIR APOSTOLAKIS: So you will have a  
17 chapter at some point in the future where you will do  
18 these things?

19 MR. ALDEMIR: In this report, we'll --  
20 okay. The report is out for review right now, and it  
21 will be revised, depending upon the reviewer comments.  
22 And if this is a point that they also would like to  
23 see, it's a matter of also timing issues. If there's  
24 time, we will put this comparison in this one. It's  
25 a matter of timing, actually, the deadlines. It's a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 matter of doing some of the analysis again.

2 Now if there is no time to do it for this  
3 report, what we will definitely do is for the next  
4 report, where we will quantify what qualitative  
5 comparison and quantitative comparison, and resolve  
6 the differences.

7 CHAIR APOSTOLAKIS: Maybe it would be wise  
8 to include that comparison in this report, because if  
9 this report is issued separately, then people may  
10 assume that either methodology is fine, and the NRC  
11 published it, so we can do it.

12 MR. ALDEMIR: Oh, I see what you're  
13 saying.

14 CHAIR APOSTOLAKIS: But if you have a  
15 comparison.

16 MR. ALDEMIR: Good point.

17 CHAIR APOSTOLAKIS: And also, a critical  
18 evaluation of the rates. I think these things go  
19 together.

20 MR. ARNDT: Yes. The idea is that this is  
21 a staged approach. We looked at the various  
22 methodologies that might be appropriate, we chose a  
23 few that we thought would capture the characteristics  
24 we were interested in, and how they could be  
25 constructed, which is the purpose of this report. And

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 then the next report will be how well those systems  
2 actually work in doing these kinds of analyses.

3 CHAIR APOSTOLAKIS: What's the rush for  
4 publishing this one?

5 MR. ARNDT: There's no rush. The point  
6 is, before we go forward with the regulatory guide  
7 saying these are ways that we think are acceptable,  
8 and it's nice to be able to point to a document that  
9 is in the public domain to articulate that.

10 CHAIR APOSTOLAKIS: But it seems to me  
11 that you will be in a better position to define what's  
12 acceptable if you do this comparison. Bill?

13 MR. KEMPER: Yes. Bill Kemper, again.  
14 Thank you. Steve has kind of hit the nail on the head  
15 here. We're really under internal pressure of our own  
16 to try to move on with this and get some regulatory  
17 guidance out there as soon as we can, because we think  
18 the industry really is desirous of this. This series  
19 of NUREGs, as Steve said, will provide the  
20 underpinning or the regulatory bases, if you will, for  
21 the Reg Guide itself. And also, we have an industry  
22 public meeting coming up in August, which we've had to  
23 slip a couple of times, and I'm hoping dearly that we  
24 don't have to slip it again, so this plays into that,  
25 as well. We want to have as much information out

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 there available to the public before that public  
2 meeting.

3 CHAIR APOSTOLAKIS: I still think, though,  
4 that the critical evaluation of the failure rates and  
5 position rates should be in this report.

6 MR. KEMPER: Well, what we can do is we'll  
7 look at the time implications of that, and if we can  
8 do it, Tunc, Steve, do you all see any reason not to  
9 do that? I mean, assuming that it doesn't completely  
10 washout our schedule here, obviously.

11 MR. ARNDT: The intention is all of these  
12 issues will be covered by the time we finish with  
13 third report. It's just a matter of which report and  
14 what the exact timing is, and whether or not it  
15 becomes logistically challenging to publish this  
16 report with that information that may delay it so far  
17 that it makes no sense to publish the third report.  
18 There's logistical issues here, as well.

19 CHAIR APOSTOLAKIS: But if the source of  
20 doubt regarding the applicability of Markov systems is  
21 this meaning of the REGS, it seems to me you should  
22 address it. I'm not asking for a major treatise, but  
23 you should address it in the report, and acknowledge  
24 that there is this issue, and here is our answer.

25 MR. ARNDT: We certainly need to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 acknowledge that it's an open technical issue, and  
2 this is how we are choosing to work it, and this is  
3 why.

4 CHAIR APOSTOLAKIS: So are you saying that  
5 the regulatory guide will refer to these methods?

6 MR. ARNDT: It will reference this as  
7 information, but as we've talked about about four  
8 times already, there is going to be some systems that  
9 don't need this sophisticated modeling, so that part  
10 of it will reference other sections. But the  
11 information we've learned in developing this  
12 information is something that we want to use as a  
13 technical basis for the decisions that we have in the  
14 regulatory guide. If we say that there are some  
15 systems that need this level of modeling, then we need  
16 to point to both open literature and NRC literature  
17 that says this is what our issues are.

18 CHAIR APOSTOLAKIS: Well, I mean, I  
19 appreciate the issue of schedule and all that, but I  
20 mean, certain things are really important.

21 MR. ARNDT: We appreciate the --

22 CHAIR APOSTOLAKIS: Do we comment on NUREG  
23 reports? We do.

24 MR. THORNSBURY: Some.

25 MR. KEMPER: You can, but generally we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 don't ask that you do that.

2 CHAIR APOSTOLAKIS: But we can volunteer.

3 MR. KEMPER: You certainly can.

4 MR. THORNSBURY: You're a member of the  
5 public, too, George.

6 MR. KEMPER: This is true, you are a  
7 member of the public. Well, I think Steve's point  
8 here is we will do what we can to address that and  
9 move forward, try to preserve our schedule commitments  
10 as best we can.

11 MR. ALDEMIR: We will also try to see if  
12 we can have at least a qualitative comparison of the  
13 prime implicants that we get from Markov and DFM.  
14 That was already in the --

15 CHAIR APOSTOLAKIS: It's fine to have  
16 something and then say more details will be somewhere  
17 else.

18 MR. ALDEMIR: No, I think we have --

19 CHAIR APOSTOLAKIS: But not to say  
20 anything is not really acceptable.

21 MR. ALDEMIR: If we are using the same  
22 scenario to simulate it, it only stands to reason that  
23 we compare the results, and try to resolve as many  
24 difference as possible. It may not be possible to  
25 resolve all of them, in which case we'll then defer to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the third --

2 CHAIR APOSTOLAKIS: By the way, I think it  
3 needs a good editing job, this report.

4 MR. ARNDT: Yes. The version that you got  
5 was a very early version. We wanted to provide you  
6 the information for your technical background.

7 MR. ALDEMIR: The DFM analysis --

8 CHAIR APOSTOLAKIS: Say you have an actual  
9 replication of this? Are you going to show the  
10 actual --

11 MR. ALDEMIR: Yes. You want me to skip  
12 all this?

13 CHAIR APOSTOLAKIS: Maybe you can go  
14 there.

15 MR. ALDEMIR: Okay.

16 CHAIR APOSTOLAKIS: Because I don't think  
17 this means anything to anybody who is not familiar  
18 with the method.

19 MR. ALDEMIR: Okay. Let me first do kind  
20 of -- anticipate where we are going, and as I said in  
21 the beginning of my presentation, that we will  
22 eventually need to integrate these models into an  
23 existing PRA. So this is one way you can do the  
24 integration, and we are using SAPHIRE as the tool, and  
25 the turbine trip event as the initiating event. You

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 can, in the graphical mode, you can simply graphically  
2 insert these types of -- the event sequences that have  
3 been obtained through prime implicants into the event  
4 tree. Then I will show you later on, and we  
5 illustrated this for Markov - I'm sorry, the dynamic  
6 flow-graph methodology, and then for Markov I will use  
7 another mode of SAPHIRE input to show how we can  
8 include them -- incorporate them into SAPHIRE. But  
9 both methodologies can be used in both modes.

10 So example initiating event --

11 CHAIR APOSTOLAKIS: Let me -- let's go  
12 back one second. This is a static representation of  
13 the system.

14 MR. ALDEMIR: Right.

15 CHAIR APOSTOLAKIS: And you are doing a  
16 dynamic analysis. So how am I to interpret the event  
17 MFW phase? When?

18 MR. ALDEMIR: Okay.

19 CHAIR APOSTOLAKIS: Are you going to give  
20 me a global event or what?

21 MR. ALDEMIR: In this particular -- that's  
22 a very valid point. In this particular illustration,  
23 the timing doesn't matter. The event sequences, I  
24 mean, the prime implicants, the timing is not an issue  
25 here. So if that's not an issue, then we can take it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and simply incorporate it statically into a fault  
2 tree.

3 CHAIR APOSTOLAKIS: It's not an issue?

4 MR. ALDEMIR: In this particular example  
5 that we're talking about.

6 CHAIR APOSTOLAKIS: So why are we using  
7 dynamic --

8 MR. ALDEMIR: No, no. We chose an  
9 initiating event, example initiating event. Now in  
10 this situation, we have two types of responses, either  
11 the system behaves and fails in one mode versus the  
12 other. So we get the prime implicants that lead to  
13 these events. Now there are - I forgot the number,  
14 but there are about 11 implicants, prime implicants  
15 that lead to one type of failure, and then five, six,  
16 or seven that lead to the other. We conglomerate them  
17 so you have top event failure - I mean, sorry - high  
18 level or low level.

19 Now, again, coming back to why are we  
20 doing this dynamically? Well, you may be able to  
21 identify the faults, I mean, the failure modes. And,  
22 in fact, you have to specify them up front what sort  
23 of failure modes you're going to have. The question  
24 is, when you start quantifying them, unless you take  
25 the dynamics into account, you may get different

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 results.

2 CHAIR APOSTOLAKIS: But then how far you  
3 will go into time? I mean, this still says failure of  
4 the main feedwater --

5 MR. ALDEMIR: These are all valid issues.

6 These are --

7 CHAIR APOSTOLAKIS: Are you going to say  
8 I'm going to 100 seconds, 50 seconds?

9 MR. ALDEMIR: These are all valid --

10 CHAIR APOSTOLAKIS: Is it possible that  
11 you may even create another branch?

12 MR. ALDEMIR: These are all valid issues.

13 CHAIR APOSTOLAKIS: So we haven't resolved  
14 those yet.

15 MR. ALDEMIR: No.

16 CHAIR APOSTOLAKIS: Okay.

17 MR. ALDEMIR: In fact, some of them are  
18 not resolvable.

19 CHAIR APOSTOLAKIS: Whoa, whoa. We're not  
20 squaring the circle here.

21 MR. ALDEMIR: Well, the issue is the  
22 following. If you have an existing PRA based on a  
23 static model, you generate the dynamic model. All  
24 these issues that you brought up are valid. Well,  
25 then you have to make certain assumptions. For

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 example, you look at the event tree and they say how  
2 was this generated? What was my assumption on the  
3 initiating event here? And then you go back to your  
4 dynamic model and use the same initiating event, then  
5 things will match.

6 CHAIR APOSTOLAKIS: But you will address  
7 this some time in the future.

8 MR. ALDEMIR: That's why we are doing it  
9 in the third report. That's why --

10 CHAIR APOSTOLAKIS: Well, that's the  
11 thing, again. I mean, if you issue this report and a  
12 guy tries to make some real life decisions using this  
13 as a basis, and then this question comes to his or her  
14 mind, I mean, how useful is the report? I mean, there  
15 are important issues that have to be addressed.

16 MR. ALDEMIR: Again, we are assuming that  
17 the existing PRA does not change, we cannot change  
18 that, so the question is how can we fit it best into  
19 the existing PRA. So one way - and all these issues  
20 that you brought up are relevant, so then we look at  
21 how the original PRA was constructed, and try to make  
22 the same assumptions in our representation.

23 CHAIR APOSTOLAKIS: Will you at least have  
24 in your conclusion section a discussion of these  
25 issues, without necessarily giving an answer?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ALDEMIR: Yes, sure.

2 CHAIR APOSTOLAKIS: Because, you know, a  
3 user will feel much better if he appreciates or he  
4 realizes that the authors of the report appreciated  
5 these issues.

6 MR. ALDEMIR: As I expressed, how far you  
7 are going to go, same thing with the event tree - I  
8 mean, you come to a stop when you reach a consequence  
9 of interest to you, and the same thing you can do  
10 this. You can do it for the dynamic methodologies,  
11 you can follow them as far as the events in the event  
12 tree go.

13 CHAIR APOSTOLAKIS: That's one approach.

14 MR. ALDEMIR: Yes, I mean that's one way.

15 CHAIR APOSTOLAKIS: That makes sense.

16 MR. ALDEMIR: But a key issue here is,  
17 when you are tying up these links, am I making the  
18 same assumptions in the linkage. And then you have to  
19 see what the initial assumptions were in the event  
20 tree generation so that you generate your dynamic  
21 methodology or dynamic event tree the same way. And,  
22 of course, you may need to -- if you have no  
23 information, what if you have no information? Then  
24 you do a sensitivity analysis on the initial  
25 conditions, try to see how much of a difference it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 will make as far as consequences and event development  
2 goes, as to what assumptions you make in initial  
3 events. But this is what we will defer to as  
4 epistemic uncertainty.

5 CHAIR APOSTOLAKIS: Yes. Everybody refers  
6 to it. Another thought occurred to me - there was a  
7 question last time you guys were - I mean, Steve was  
8 before the Full Committee - there was a question from  
9 a member, or a comment, that universities really  
10 produce methods and ideas and all that, but then there  
11 is this extra step of making something operational,  
12 where you need now the regulatory guides, guys, or  
13 National Laboratory to take over and make it  
14 practical. And, Steve, you said yes, that we are at  
15 the stage we're producing ideas and methods, and there  
16 will be a second step. But today, I get the  
17 impression that you're going into regulatory guide  
18 directly, without having this intermediate step, where  
19 somebody actually uses these, trying to make it --

20 MR. ARNDT: We're going to talk a little  
21 --

22 CHAIR APOSTOLAKIS: -- say "practical".

23 MR. ARNDT: We're going to talk a little  
24 bit about that later in the afternoon. There's three  
25 things you need to understand.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 CHAIR APOSTOLAKIS: There's a lot of  
2 things I need to understand.

3 MR. ARNDT: From a structural standpoint.

4 CHAIR APOSTOLAKIS: Okay.

5 MR. ARNDT: We go back to my bubble chart.  
6 One of the issues is developing a practical  
7 independent assessment methodology for the NRC. In  
8 that case, let's talk about that for 30 seconds. We  
9 come up with the ideas, we look at the limitations, we  
10 look at the advantages and disadvantages of various  
11 methodologies, we look at the data, we come up with an  
12 idea, then we transition that to the people who do  
13 this for practical day-to-day basis, in our case, the  
14 INL lab that runs the SAPHIRE and SPAR program. That  
15 is part of the plan for that part of the program. And  
16 we'll actually talk about that briefly today.

17 The other part is the development of  
18 guidance as to what we consider to be acceptable for  
19 review that the industry can bring in. We can do that  
20 in one of two ways. We can develop it and say this is  
21 an acceptable methodology, and go through all the gory  
22 details of what we think is acceptable or not, or we  
23 can write basically a performance-based regulatory  
24 guide that says we don't care what methodology you  
25 use, so long as it meets certain criteria.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           At this point, we're planning on going  
2 down the second path, rather than the first path, for  
3 a number of reasons. One, because there's a lot of  
4 different ways to do this. We're looking at three,  
5 the traditional fault tree/event tree methodologies,  
6 the DFM and the Markov. There are others. We have  
7 different characteristics, different aspects of that.  
8 The work that we are doing to develop our own  
9 independent assessment methodology will inform the  
10 development of our regulatory guidance, and we will  
11 point to some of that information as reasons why we  
12 make particular decisions in our regulatory guidance.

13           CHAIR APOSTOLAKIS: Okay. It will be  
14 exciting when we review the regulatory guide.

15           MR. ARNDT: For a whole bunch of people.

16           CHAIR APOSTOLAKIS: I can see people  
17 getting very enthusiastic when you tell them find the  
18 prime implicants.

19           MR. ALDEMIR: Do you want me to go through  
20 the DFM model construction procedure? The idea is --

21           CHAIR APOSTOLAKIS: Well, keep going. I  
22 don't know. We will stop you when we think --

23           MR. ALDEMIR: Okay. The idea is basically  
24 a graph theory oriented approach. We take the  
25 discretized process parameters as nodes, we represent

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 them as nodes, and we have transfer function between  
2 the nodes expressed as decision tables. So in this  
3 chart, which corresponds to what I have described as  
4 the example initiating event, it's DFM modeling of the  
5 same event sequence, or the system, the part of the  
6 system that involves that event sequence.

7 CHAIR APOSTOLAKIS: So where are the  
8 control laws in this --

9 MR. ALDEMIR: Controls laws are going to  
10 be going through the transfer boxes. It's going to be  
11 represented as the decision tables --

12 CHAIR APOSTOLAKIS: Easy to develop  
13 decision tables using control laws.

14 MR. ALDEMIR: Now, my understanding is,  
15 actually, we can ask Mike --

16 CHAIR APOSTOLAKIS: Mike is here. Right?

17 MR. ALDEMIR: Why don't you come and  
18 explain?

19 CHAIR APOSTOLAKIS: Identify yourself.

20 MR. YAU: Michael Yau, ASCA, Incorporated.  
21 To answer Professor Apostolakis' first question  
22 regarding the control laws, the key parameters in the  
23 control logic are the ones highlighted inside the  
24 green brackets.

25 CHAIR APOSTOLAKIS: Okay, on the left.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. YAU: On the left. That's right.

2 CHAIR APOSTOLAKIS: So am I to understand  
3 there is a decision table behind each of these symbols  
4 there?

5 MR. YAU: Right.

6 CHAIR APOSTOLAKIS: And then you did what?  
7 How did you develop these? I mean, you solved the  
8 equations?

9 MR. YAU: Basically, I -- in the control  
10 law translated into a software sub-routine, I supplied  
11 a range of inputs for the sub-routine, and then from  
12 the outputs, look at the outputs and then build the  
13 decision tables from the relationship between the  
14 inputs and the outputs.

15 CHAIR APOSTOLAKIS: And time comes into  
16 this? I mean, the decision table, again, is a static  
17 representation.

18 MR. YAU: Not necessarily. Decision table  
19 can be a dynamic representation in the sense that you  
20 supply the inputs at a time step before, and then you  
21 get the outputs a time step later.

22 CHAIR APOSTOLAKIS: And that's time  
23 independent? You see what I'm saying? No, it can't  
24 be.

25 MR. ALDEMIR: It could be time

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 independent, if the system --

2 CHAIR APOSTOLAKIS: Could be, but --

3 MR. ALDEMIR: If the system is autonomous,  
4 yes. If it is not, then they create another decision  
5 table, basically.

6 CHAIR APOSTOLAKIS: And what's the time  
7 step here, Mike?

8 MR. YAU: Right now in the model that we  
9 are putting, it's assumed we are running -- the  
10 decision tables were built based on time step of 10  
11 clock cycles.

12 MR. ALDEMIR: In this example, the system  
13 is not autonomous because the decay -- the heat  
14 generation rate is an exclusive function of time, so  
15 the decision tables will have to be built as a  
16 function of time.

17 CHAIR APOSTOLAKIS: Have they been built  
18 that way? I mean, that's an important point. I mean  
19 --

20 MR. ALDEMIR: Yes.

21 CHAIR APOSTOLAKIS: They have.

22 MR. ALDEMIR: Well, Michael will help me  
23 out, but this --

24 MR. YAU: Well, actually the decay heat  
25 part is really part of the input to the software.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 It's the compensated power, and we -- in the input  
2 used to generate the decision table, we sample a range  
3 of the input power from zero percent to 100 percent,  
4 so you have the representation, if the power is in  
5 this range, we've got these set of outputs. If the  
6 power is in a different range --

7 MR. ALDEMIR: They are basically  
8 converting to the autonomous system in this situation.

9 CHAIR APOSTOLAKIS: Okay.

10 MR. ALDEMIR: So the decision table will  
11 be static. But you can do it dynamically, so it's  
12 just a matter of depending upon how the system  
13 representation is.

14 MR. ARNDT: The real point here is the  
15 level of detail you need in the model, be it this  
16 model or any other, is dependent upon the amount of  
17 the features of the system that you need to capture  
18 for it to be an appropriately representative model.  
19 So, for example, when we talked about the aspects of  
20 the model, the watchdog timer, if the main computer  
21 has a fault, it'll shift to the backup computer.  
22 That's a time sequence. There's issues associated  
23 with the characteristics of the system, so the amount  
24 of timing you have and the amount of detail you have  
25 is based on the amount -- the feature of the system

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you want to capture.

2 CHAIR APOSTOLAKIS: Yes, but at the same  
3 time, if by capturing those features you come up with  
4 a methodology that is completely unmanageable --

5 MR. ARNDT: Well, that's the point of  
6 doing the study, to see whether or not you can do  
7 that.

8 CHAIR APOSTOLAKIS: So this was  
9 manageable, Michael?

10 MR. YAU: For this simplified benchmark  
11 system, it is. But let's say if you have a more  
12 complicated software module that models a common  
13 filter, I don't think you can do a practical decision  
14 table that way. I think you have to rely on some  
15 clever method of dividing the input space into  
16 different contexts, and then rely on testing to build  
17 the decision table.

18 CHAIR APOSTOLAKIS: I see. There's a way  
19 around.

20 MR. YAU: There's a way around, yes, sir.

21 CHAIR APOSTOLAKIS: Okay. Let's go on.

22 MR. ALDEMIR: Since you are here, why  
23 don't you step through these.

24 MR. YAU: So, basically, from the DFM  
25 model that was constructed to represent the feedwater

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 control system and the steam generator, we could  
2 analyze this model for different top events. The two  
3 top events of interest are the steam generator at a  
4 high level, and the steam generator at a low level.  
5 These top events were defined as a conjunction of the  
6 state of the knocks represented by the DFM model, and  
7 the top event that this third bullet corresponds to is  
8 the high level top event.

9           The level was discretized into five  
10 states, two, one, zero, negative one, and negative  
11 two; two being the highest, and negative two being the  
12 lowest. What this top event says is that I want to  
13 find out what are the prime implicants that could lead  
14 me to the highest level at time zero, while passing  
15 through level one at time T minus 1, and starting from  
16 the normal level at T minus 2. Given that the ELP and  
17 the CZL variables are zero, that means you don't  
18 accumulate a lot of errors inside the PID control  
19 logic. There are not a lot of integral errors in the  
20 control logic, so you're basically starting from a  
21 very nominal state, and then somehow progress to the  
22 high level. And then the DFM model was analyzed  
23 deductively for two time steps for that top event, and  
24 the 11 prime implicants were identified.

25           CHAIR APOSTOLAKIS: So this is now for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 what time, time zero? The 11 prime implicants at  
2 which time?

3 MR. YAU: At time minus two. We were  
4 backtracking two time steps, so our top event occurs  
5 at time zero. But we find out things that happen  
6 before --

7 CHAIR APOSTOLAKIS: You go back two times,  
8 yes.

9 MR. YAU: Right. Before.

10 CHAIR APOSTOLAKIS: So 11 prime implicants  
11 for time zero.

12 MR. YAU: Right.

13 CHAIR APOSTOLAKIS: Right.

14 MR. YAU: And then --

15 CHAIR APOSTOLAKIS: And did you guys find  
16 this 44 second --

17 MR. YAU: No. Actually -- the fact is  
18 that these prime implicants, they don't tell you  
19 exactly okay, this thing happens at 44 seconds. It  
20 just gives you the initial condition, and one of those  
21 initial conditions corresponds to the 44 second case.  
22 Let's say we focus on prime implicant number 5, it  
23 says the level was normal at time T minus 2, the level  
24 error is nominal, the compensated level is nominal.  
25 But then at that moment, the feed flow is greater than

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the steam flow, and then your bypass flow valve failed  
2 stuck. And that's the condition at 44 seconds,  
3 because at that moment feed flow is greater than steam  
4 flow, and if your bypass flow valve got stuck, then  
5 the feed flow/steam flow mismatch will lead you to a  
6 high level. That's basically what the prime implicant  
7 tells you. It doesn't tell you that you have to look  
8 specifically at 44 seconds, but you have to look for  
9 cases where the steam flow and the feed flow mismatch,  
10 and then you can have a stuck position.

11 CHAIR APOSTOLAKIS: Now you report the  
12 probability here of 2.5 ten to the minus 4, not there,  
13 in the report.

14 MR. YAU: We removed those, because  
15 basically those numbers were assumed numbers, and we  
16 subsequently removed those.

17 CHAIR APOSTOLAKIS: All right. I was  
18 trying to find out why they're in the --

19 MR. ALDEMIR: No, we removed those  
20 numbers.

21 MEMBER BONACA: Forget it now.

22 MR. YAU: Those numbers are basically used  
23 to illustrate how you could go from the prime --

24 CHAIR APOSTOLAKIS: Okay. Let's say you  
25 want to quantify this, again, prime implicant five,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 level is normal at T minus 2. That's one, right. I  
2 mean that's -- yes, really normal is one.

3 MR. YAU: I think you could get those  
4 numbers from the operational profile. The level may  
5 be --

6 CHAIR APOSTOLAKIS: A very high  
7 probability of --

8 MR. YAU: Yes, that's right.

9 CHAIR APOSTOLAKIS: Level error is  
10 nominal.

11 MR. YAU: It comes from the operational  
12 profile in the software. Basically, you accumulated  
13 a very small error, and you can easily correct this.

14 CHAIR APOSTOLAKIS: You can have a  
15 probability for that?

16 MR. YAU: I don't know how to generate  
17 that, at the moment.

18 CHAIR APOSTOLAKIS: Ahh, okay.  
19 Compensated level is nominal. Tunc, you want to say  
20 something?

21 MR. ALDEMIR: These are initial  
22 conditions, basically.

23 CHAIR APOSTOLAKIS: All of these are  
24 initial -- yes, but --

25 MR. ALDEMIR: Blue are initial conditions.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIR APOSTOLAKIS: Why are they initial?

2 MR. ALDEMIR: Because you have third order  
3 system, you need three initial conditions.

4 CHAIR APOSTOLAKIS: If it goes back two  
5 steps. Okay, fine. But still -- okay, so these are  
6 -- feed flow greater than steam flow. That's red,  
7 right? So that's not an initial condition. So how  
8 would you get that probability?

9 MR. YAU: We don't have an answer right  
10 now, but I would venture to speculate that you would  
11 try to quantify it by looking at the operational  
12 profile and see how the steam flow and feed flow  
13 profile under this initial condition.

14 CHAIR APOSTOLAKIS: So we do have some  
15 issue here how to get those probabilities, so the main  
16 value of this is the qualitative --

17 MR. YAU: Qualitative at the moment.  
18 That's right.

19 CHAIR APOSTOLAKIS: What it takes, what  
20 kind of states it takes to lead to the undesirable  
21 event.

22 MR. YAU: Right. As Professor Apostolakis  
23 pointed out earlier, from this qualitative analysis,  
24 you might want to really fix these kind of issues  
25 before even you try to quantify them. You may want to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have some check --

2 CHAIR APOSTOLAKIS: And then you have the  
3 same problem like everybody else.

4 MR. YAU: That's right.

5 CHAIR APOSTOLAKIS: The only thing you can  
6 do is just assume some rates. If other people can do  
7 it, you can do it.

8 MR. ALDEMIR: Again, they had such -- how  
9 you would get the number, operational profile, you  
10 need some input data, like in any other initial event  
11 --

12 CHAIR APOSTOLAKIS: Well, what do you mean  
13 by "operational profile"?

14 MR. ALDEMIR: How many times have you  
15 observed this kind of event.

16 CHAIR APOSTOLAKIS: At T minus 2, zero.

17 MR. ALDEMIR: No, no. No, no.

18 CHAIR APOSTOLAKIS: Oh, come on.

19 MR. ALDEMIR: How many times have you  
20 observed feedwater being - what is it - feed flow  
21 being larger than steam flow? The minus 2 is not  
22 relevant here. It's just the probable distribution  
23 that's relevant.

24 CHAIR APOSTOLAKIS: I don't know. We'll  
25 have to think about that. That's certainly an input

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to it.

2 MR. ALDEMIR: But, I mean, you would  
3 definitely need inputs. Again, the dynamic analysis,  
4 like any other -- even with normal event tree efforts,  
5 you would still need to observe or know how system  
6 will behave as a function of time --

7 CHAIR APOSTOLAKIS: I understand that, and  
8 I think right now, I think that the greatest value of  
9 what you guys are doing is qualitative. That's my  
10 view. And the jury is out whether the quantitative  
11 information is realistic and practical. That's my  
12 view. Two guys nod, two refuses to -- that's fine.  
13 That's fine.

14 MR. ALDEMIR: If I start responding, this  
15 is going to get into a more philosophical mode. In  
16 any kind of engineering field, we do the best we can.

17 CHAIR APOSTOLAKIS: Oh, don't -- yes,  
18 okay. Let's go on.

19 MR. ALDEMIR: I mean, we cannot say wait,  
20 we don't have anything.

21 CHAIR APOSTOLAKIS: I understand.

22 MR. ALDEMIR: Okay. Should I go through  
23 these fast, or are we --

24 MR. YAU: Actually, I could just skip  
25 through them really quickly.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ALDEMIR: Well, you might as well say  
2 a few words.

3 CHAIR APOSTOLAKIS: Let me understand this  
4 T equals zero. So this is the actual start of the  
5 transient, the zero, or is it your zero?

6 MR. YAU: My zero. It's not the start of  
7 the transient.

8 CHAIR APOSTOLAKIS: It could be any time,  
9 actually.

10 MR. YAU: Right.

11 CHAIR APOSTOLAKIS: Okay.

12 MR. YAU: Basically, what I'm saying is  
13 that my top even time is this zero.

14 CHAIR APOSTOLAKIS: I understand. Why did  
15 you choose to go back only two time steps, and not  
16 three?

17 MR. YAU: Because in the simplified model,  
18 I know that the level could go from zero to two in two  
19 time steps, so that's the minimum number of time steps  
20 required to get there.

21 CHAIR APOSTOLAKIS: I see. So there's  
22 some logic.

23 MR. YAU: Right.

24 CHAIR APOSTOLAKIS: Okay. That's good.

25 MR. ALDEMIR: Should I --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIR APOSTOLAKIS: Yes, let's skip now.  
2 Remember, you have to finish at 12:00.

3 MR. ALDEMIR: I know. It's going to be  
4 hard. Well, I will just then try to go through the  
5 Markov methodology fairly fast. But before we start,  
6 this is, again, a way to predict the system  
7 reliability, so it's a predictive model. And what we  
8 are using earlier was a kind of an inductive model to  
9 figure out what kind of inputs, what kind of faults  
10 we're supposed to be injecting, so these things are  
11 totally disassociated, except that the former model,  
12 the one that is used for fault injection, helps to  
13 feed data into this model or DFM.

14 CHAIR APOSTOLAKIS: The discussion we just  
15 had, with DFM, Mike produced the prime implicants,  
16 which are qualitative insights into the system without  
17 using any quantitative information. Can the Markov  
18 model produce qualitative results without failure rate  
19 numbers?

20 MR. ALDEMIR: I'll show you. I'll show  
21 you in a little while. It does. This is a recent  
22 development, incidentally; developed as part of  
23 another project. So in the Markov methodology, we --

24 CHAIR APOSTOLAKIS: Why do you call it  
25 Markov?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. ALDEMIR: Because it's a Markov model.  
2 I mean, the main -- we discussed this with other  
3 member of ASCA, and the main difference between two  
4 methodologies is, in the decision tables they assume  
5 zero one, we assume non-zero values, as well, non-  
6 zero/non-one, we're in-between, as well. That's the  
7 only difference.

8 CHAIR APOSTOLAKIS: But the problem --  
9 what I don't understand is this. In the Markov  
10 model, you start with a Markov diagram, which you  
11 build. Correct? The states.

12 MR. ALDEMIR: Yes. But the same states go  
13 into DFM, too. They have to --

14 CHAIR APOSTOLAKIS: Well, in there is the  
15 truth tables?

16 MR. ALDEMIR: Well, you need to have some  
17 certain states of the system so that you can figure  
18 out what possible -- to construct your decision  
19 tables, you need --

20 CHAIR APOSTOLAKIS: Well, I really think  
21 you need a closing chapter with some of these things.

22 MR. ALDEMIR: As I said, we will do  
23 comparisons. Now it is going to be difficult to  
24 relate one to one, because then the report is going to  
25 become unmanageable, because if you look at the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 report, we don't have too much on DFM because it's  
2 already been out there. There's one NUREG already  
3 published on it, 64.65.

4 CHAIR APOSTOLAKIS: Sure, sure, sure. But  
5 some comparison, I think, would be useful on the basic  
6 stuff. Yes, you see the experienced guy. Say yes.

7 MR. ALDEMIR: Okay. Yes.

8 CHAIR APOSTOLAKIS: But we are  
9 experienced, too. We'll hold you to it.

10 MR. ALDEMIR: Okay.

11 CHAIR APOSTOLAKIS: You know, at this time  
12 maybe going to details like cell-to-cell and all that  
13 probably doesn't serve much of a purpose, so if you  
14 can give us the flavor of the approach, because you'll  
15 never finish, otherwise.

16 MR. ALDEMIR: Right. Okay. Let me then  
17 give you the flavor of the approach, what I just said  
18 earlier. I'll skip through these probabilities. So  
19 this is going to be something -- sorry, go ahead.

20 CHAIR APOSTOLAKIS: The equations, the  
21 control laws, how do you use them in the Markov model?

22 MR. ALDEMIR: As I said, the only  
23 distinction between us - I mean not us - between  
24 Markov methodology and DFM is how we construct the  
25 decision tables. In our approach, in the DFM

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 methodology, we use to one-to-one mapping, and correct  
2 me if I'm wrong, Mike - one-to-one mapping, so it's  
3 always zero or one. You still partition the process  
4 variables into ranges, and then you take one point  
5 from one end table, try to see where it will go  
6 following the system equations in a given specified  
7 time.

8 DFM uses one way, not because it's not  
9 capable of using more than one, it's just that the  
10 model becomes unmanageable. So in the Markov  
11 approach, the same philosophy, except using more than  
12 one point to start from each partition to map into  
13 each partition, to other partitions. So when the  
14 decision tables of DFM are zeroes and ones, Markov  
15 produces decision tables which may have values in-  
16 between. So that's the example that I was going --  
17 this is kind of showing you how the mapping scheme is  
18 done. This is our representation of the transitions  
19 between each component state, between component  
20 states. These go as inputs into the Markov model.  
21 This is how you would construct these transition  
22 probabilities from process variable --

23 CHAIR APOSTOLAKIS: Your cell-to-cell --

24 MR. ALDEMIR: Cell-to-cell mapping, that's  
25 correct. This is the kind of decision table --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIR APOSTOLAKIS: Go back one. I  
2 remember in the report you say somewhere that some of  
3 these factors can be obtained from look-up tables, or  
4 am I - I don't remember correctly?

5 MR. ALDEMIR: It depends on the complexity  
6 of the system. If the system -- the equations  
7 describing the system dynamics is a convenient way of  
8 -- well, one way of system modeling. You may actually  
9 use look-up tables if you have experimental data on  
10 system performance. Say that the system performance  
11 is not that complicated, and you have -- let's say you  
12 know that if I am in this interval, I will be in that  
13 other interval based on experimental data, based on  
14 observation, based on expert judgment, if you want to.

15 CHAIR APOSTOLAKIS: Otherwise, you produce  
16 it?

17 MR. ALDEMIR: Otherwise, you can produce  
18 them through the -- I mean, you just need a system  
19 model, whether it be qualitative, quantitative,  
20 doesn't really matter, integral, differential  
21 equation, as long as you can map one time step to the  
22 other time step, and both methodologies do the same  
23 thing, both DFM and Markov do the same thing.

24 CHAIR APOSTOLAKIS: All right. Let's go  
25 on.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ALDEMIR: This is the kind of decision  
2 table that you will build, and from what I understand,  
3 DFM does pretty much the same thing. The differences  
4 you see are here. These are not all zeroes and ones.  
5 There are probabilities associated with these  
6 transitions. And it's not because DFM cannot do it,  
7 it's just that the model becomes very complicated.  
8 They choose usually not to do it.

9 CHAIR APOSTOLAKIS: This is the kind of  
10 thing that would be nice to explain a little bit in  
11 the report. I really think it would go a long way --

12 MR. ALDEMIR: The similarities, we --

13 CHAIR APOSTOLAKIS: Similarity, why you  
14 have .33 and they don't. I mean, it's not a big deal.

15 MR. ALDEMIR: Sure, sure. No, there's no  
16 problem with that, no.

17 CHAIR APOSTOLAKIS: Within half an hour,  
18 can't you --

19 MR. ALDEMIR: No, no, no. Actually, as I  
20 said, we are planning to do --

21 CHAIR APOSTOLAKIS: No, refer to that you  
22 cannot do it, or what? It cannot be done?

23 MR. ALDEMIR: No, we will do it. We were  
24 planning to do it, as I said, after the -- we are  
25 waiting for the reviewer's comments to come in. When

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we are revising the report, we will compare these  
2 methodologies and try to resolve as many differences  
3 as possible.

4 CHAIR APOSTOLAKIS: The question in my  
5 mind is, and I know you've answered a few times but  
6 it's not clear, probably because I don't understand  
7 this. It seems to me that the DFM guys can produce  
8 qualitative results that are useful without resorting  
9 to any probabilities or transition rates, and you  
10 can't. Now you say that you can, so that's something  
11 that I would like to see.

12 MR. ALDEMIR: You can see these -- you can  
13 regard each of these squares as a placeholder, non-  
14 zeroes as placeholders. You can regard them, if you  
15 want to make your life simple, we can regard them as  
16 ones, any time you have a non-zero probability, and  
17 that tells you how we can do that qualitatively. This  
18 is the --

19 CHAIR APOSTOLAKIS: Arabic.

20 MR. ALDEMIR: Well, hopefully these are  
21 all going to be Meccanite. Incidentally, what we are  
22 doing here --

23 MR. HICKEL: It's Greek, George. It's  
24 Greek.

25 CHAIR APOSTOLAKIS: If it looked Greek to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 me it would be okay.

2 MR. ALDEMIR: It's too small, and the  
3 resolution isn't that good, but these are lambdas and  
4 mus, which is Greek, yes. So eventually, the reason  
5 why we called it Markov is because of this, and this  
6 is a Markov process, and this has the properties of  
7 Markov. But as you will see in a little while, we can  
8 take this model, irrespective of the numbers we  
9 produce, and we can generate dynamic --

10 CHAIR APOSTOLAKIS: That's what I want to  
11 understand.

12 MR. ALDEMIR: Sure. Okay.

13 CHAIR APOSTOLAKIS: Now the last one that  
14 has a word that is very popular, "importance".

15 MR. ALDEMIR: This is importance defined  
16 after Lambert, but it is not one of the popular  
17 importance, but it's Lambert.

18 CHAIR APOSTOLAKIS: Who is that? Is that  
19 --

20 MR. ALDEMIR: Yes. This is from the paper  
21 published in 1989, so it's old. We don't use it any  
22 more, but --

23 CHAIR APOSTOLAKIS: Thesis.

24 MR. ALDEMIR: Pardon me?

25 CHAIR APOSTOLAKIS: That was his Ph.D.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 thesis.

2 MR. ALDEMIR: No, no, no, no. Lambert was  
3 already working at that. Lawrence Livermore, I think.

4 CHAIR APOSTOLAKIS: Because it's typical  
5 of students, he published the paper ten years later,  
6 except for Mike here.

7 MR. ALDEMIR: This is, again, integration  
8 process. How do we do that? DFM I had already shown.  
9 Now coming to the point that interests you more, what  
10 we do is that we take the transition matrix, and we  
11 convert it into a dynamic event tree.

12 CHAIR APOSTOLAKIS: Who did that, the  
13 DETs?

14 MR. ALDEMIR: The Markov model, the  
15 transition matrix that --

16 CHAIR APOSTOLAKIS: I mean, who introduced  
17 the term? I remember somebody.

18 MR. ALDEMIR: Dynamic event tree?

19 CHAIR APOSTOLAKIS: Yes. Was it you?

20 MR. ALDEMIR: We did. I don't want to  
21 take undue credit, because I'm not too sure if it is  
22 Amandela and the associates, or us, but somebody -- we  
23 will use --

24 CHAIR APOSTOLAKIS: But Nathan Soo had  
25 something else.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. ALDEMIR: Yes.

2 CHAIR APOSTOLAKIS: What did he call it?  
3 DETM.

4 MR. ALDEMIR: Well, DETM is -- again, the  
5 word "dynamic" is there. Dynamic Event something - I  
6 forgot what the T stood for.

7 CHAIR APOSTOLAKIS: So the time has come  
8 for all these things to become useful?

9 MR. ALDEMIR: I would like to take this  
10 opportunity to point out to the foresight of Professor  
11 Apostolakis --

12 CHAIR APOSTOLAKIS: When was the work trip  
13 you organized --

14 MR. ALDEMIR: 1992. Maybe it's not the  
15 proper place, but I would like to acknowledge  
16 Professor Apostolakis' foresight. If he had not  
17 supported these activities through the Reliability  
18 Engineering and System Safety, none of this stuff  
19 would be here today. It would be very hard to  
20 publish. I remember I spent about a year to publish  
21 my first paper.

22 CHAIR APOSTOLAKIS: Flattery, but let's  
23 keep going now.

24 MR. ALDEMIR: No, I really am serious  
25 about it. It's not a flattery, but I am serious about

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this. Anyway, this is the -- we take the decision  
2 tree - sorry, transition matrix - represent it in a  
3 data structure of this sort, which corresponds to a  
4 dynamic event tree like you saw. This is showing you  
5 the actual data structure. This is on the left. It's  
6 showing how the event tree is going to look like from  
7 this data structure. Zeroes or Os stand for  
8 operational modes, Xs failed modes, plus means high,  
9 and I think -- no, plus means on and then X means off.  
10 So these are -- the symbols here are showing the state  
11 of the components, and how the system evolves. And  
12 this is overflow, overflow.

13 I'll skip through these. These are the  
14 algorithms that actually generate the trees.

15 CHAIR APOSTOLAKIS: Yes. Let's go to the  
16 real thing.

17 MR. ALDEMIR: Well, this is how the event  
18 tree looks like, basically, on the left.

19 CHAIR APOSTOLAKIS: That's it. I believe  
20 you. No, what I'm saying is there is no doubt that  
21 you have done your homework here. Take us to what  
22 really matters. So your --

23 MR. ALDEMIR: Once we produce the event  
24 trees - that we have done, pretty much - then the  
25 question is how you take this, and then we have the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 input structure that is compatible with SAPHIRE.

2 CHAIR APOSTOLAKIS: And we still have that  
3 problem how far to go, but as you said earlier, maybe  
4 it's --

5 MR. ALDEMIR: There is another --

6 CHAIR APOSTOLAKIS: Or something else  
7 happens.

8 MR. ALDEMIR: There are two issues here.  
9 One of them is, are we matching what is already in the  
10 fault tree through choice of initial condition,  
11 duration of the scenario, and so forth. That is one  
12 issue that can be resolved. The other part, how do we  
13 process after we input this time dependent information  
14 into the overall PRA, how do we process it, because  
15 right now none of these techniques will see the time  
16 dependence, including SAPHIRE, won't see the time --  
17 they will immediately, the moment you start  
18 constructing fault trees, all that time information is  
19 lost. So we found a trick, so to speak, to process  
20 this, and DFM is doing the same thing. We are time  
21 stamping the events.

22 CHAIR APOSTOLAKIS: Why did you think it  
23 necessary to give us a history of SAPHIRE, but it was  
24 IRRAS.

25 MR. ALDEMIR: Completeness.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIR APOSTOLAKIS: But I'm curious,  
2 several modules were written to compliment IRRAS. Is  
3 that correct?

4 MR. ALDEMIR: No, not compliment. That's  
5 a misspelling. Complement with an E, not I. This is  
6 -- at the beginning of the talk I said, we are using  
7 the graphical input mode for DFM to illustrate how DFM  
8 results can be incorporated into SAPHIRE. This is how  
9 we can -- we are using the Markov model to illustrate,  
10 still qualitatively only, no numbers - how we can use  
11 the textual mode of input to incorporate the event  
12 tree into SAPHIRE. And this is the actual file, this  
13 is actual SAPHIRE input. This is the event tree on  
14 the left in detail.

15 CHAIR APOSTOLAKIS: So, Steve, you said  
16 earlier that, if I understand correctly, SAPHIRE  
17 experts at Idaho will get involved at some point?

18 MR. ARNDT: Of course, since this is  
19 research, if this proves to be practical and useful,  
20 we will transition this to the people at Idaho. We're  
21 already working with Curtis and other people.

22 CHAIR APOSTOLAKIS: But maybe on the way  
23 of deciding whether it's practical, you should bring  
24 them in a little bit and have them look at this.

25 MR. ARNDT: Oh, absolutely. Absolutely.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 And part of Tunc's team includes people who work with  
2 Curtis on internships, and other things, as well as -  
3 I'll take a 20-second digression. Because this is a  
4 both technically challenging and important issue,  
5 we're doing extensive peer reviews of this work, and  
6 Curtis, as it turns out, is one of the peer reviewers  
7 of this work, so we're keeping the SAPHIRE people in  
8 the loop in a number of different ways.

9 CHAIR APOSTOLAKIS: Okay.

10 MR. ALDEMIR: SAPHIRE people know exactly  
11 what's going on. In fact, some of the algorithms that  
12 were developed were developed within the scope of  
13 another project. But the reason I wanted to show this  
14 slide is to address the practicality issue. Suppose  
15 I'm a utility and I don't want to get involved with  
16 these fancy methodologies, how can I do it? Well,  
17 this is one way.

18 We are also trying to generate the Markov  
19 model -- how should I say - mechanize the Markov model  
20 for generation procedure. DFM is already fail user  
21 friendly, so once you generate the event trees, the  
22 rest here - this is exactly how we would enter them  
23 from a practical viewpoint. So it's not speculation,  
24 you can actually do it.

25 What comes out of the SAPHIRE is a fault

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 tree structure like this. Now these time events,  
2 these events will have time information in them. It  
3 is conceivable that that time information is  
4 inconsistent, because SAPHIRE has no idea what's going  
5 on except just looking at these. Each time stamped  
6 event is another separate event, so you will need to  
7 process the outcome to remove the inconsistencies.  
8 And we do the same thing with DFM. This is exactly  
9 step-by-step instructions as to how you would do, a  
10 practitioner with SAPHIRE would be doing this, and we  
11 have done it. I have two students right now working  
12 with Curtis on these issues in Idaho.

13 So, again, I just indicated the steps to  
14 show that it is doable. I have another 20 minutes,  
15 maybe. Any questions on the methodologies? Can I  
16 just -- okay.

17 CHAIR APOSTOLAKIS: I think we raised them  
18 as we went along.

19 MR. ALDEMIR: Now the benchmark, when  
20 Steve Arndt was talking about the benchmark problem,  
21 he emphasized certain features of it, and some time  
22 ago, about a half a year ago we published a paper in  
23 PSA `05 as to what requirements a benchmark model  
24 should have that it is representative of the digital  
25 technology as it exists today, and as it relates to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 nuclear reactors. And it's a fairly busy slide. I'm  
2 not going to go through every item, but two distinct,  
3 two main items are that we classify systems as loosely  
4 controlled coupled systems, and tightly controlled  
5 coupled systems.

6 Loosely controlled coupled systems are the  
7 ones where the failure events may be statistically  
8 dependent due to the process, as I showed earlier, how  
9 the -- through the dynamics, or it can be through  
10 direct wire connections, or communication networking.  
11 So we defined a number of properties that the  
12 benchmark system should have to test the effectiveness  
13 of the methodology that is going to be used for  
14 digital system evaluations. And the benchmark problem  
15 satisfied most of the requirements. It is also a  
16 practical system. It is representative of the  
17 feedwater control systems you've been operating PWRs.

18 Some of the requirements that are less  
19 relevant to systems used in nuclear reactor protection  
20 systems are not represented by the benchmark system,  
21 and as Steve Arndt pointed those out, networking, for  
22 example, shared external resources. And two  
23 particular challenging feature of the benchmark system  
24 are that we have some of the fault tolerance  
25 capabilities requires consideration of system history,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 which is particularly challenging issue in reliability  
2 modeling. And as I said, system failure mode may  
3 depend on the exact timing of failure modes.

4 How do we meet the modeling requirements  
5 that we have listed in NUREG 69.01, and again, I'm not  
6 going to go through these, this graph. So just to  
7 show how they meet them, first of all, requirement one  
8 - neither methodology, it basically says that it  
9 should not be based on purely operating experience.  
10 In other words, you observe certain failures, you  
11 build a failure model that only duplicates those, but  
12 cannot really look into the future. You identify  
13 failures modes, the only failure modes that you have  
14 for the system are the ones that you observe for the  
15 overall system, system configurations that lead to  
16 failure.

17 CHAIR APOSTOLAKIS: But you should be able  
18 to go to actual occurrences and convince --

19 MR. ALDEMIR: That's right.

20 CHAIR APOSTOLAKIS: -- yourself that you  
21 could have found them.

22 MR. ALDEMIR: That's why I quoted the -- I  
23 showed the artifact generation. We have actually --  
24 we do have an artifact which we can predict it's  
25 going to occur. And it did happen in real life, not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 for the exact same system, of course, but it shows the  
2 potential of the methodology that it can. So both  
3 methodologies can account for all the features of the  
4 benchmark system. This is requirement two. Both  
5 methodologies make valid and plausible assumptions.

6 CHAIR APOSTOLAKIS: That's where I need to  
7 be convinced.

8 MR. ALDEMIR: Well, okay. That's why I  
9 gave a little example here, a little footnote. For  
10 example, I'll read this - "For example, the assumption  
11 that the process dynamics can be represented through  
12 a Markov transition matrix or a decision table of DFM,  
13 have been validated through previous work, lots of  
14 publications on this."

15 CHAIR APOSTOLAKIS: Have been, what did  
16 you say, validated? Wow.

17 MR. ALDEMIR: Well, depends on how you  
18 define the word "validated". Demonstrated, better  
19 maybe. "Similarly, normal operation of the benchmark  
20 system and its assumed failure modes were based on  
21 operating PWRs, as well as other digital INC systems  
22 encountered in practice. Both methodologies can  
23 account for all the features of the benchmark system,  
24 so the valid and plausible assumptions --

25 CHAIR APOSTOLAKIS: I really think I need

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to see solid arguments of the validation of the lambda  
2 J. I really do.

3 MR. ALDEMIR: You're referring to the --

4 CHAIR APOSTOLAKIS: Transitions.

5 MR. ALDEMIR: Transitions.

6 CHAIR APOSTOLAKIS: Okay. Let's go on.

7 MR. ALDEMIR: Both methodologies can  
8 quantitatively represent dependencies between failure  
9 events accurately. And, again, assuming that the data  
10 are correct, the modeling procedure is doing that, and  
11 these are other types of failures that the models can  
12 account for, intermittent versus functional. Both  
13 methodologies yield information that is usable by,  
14 let's say, a conventional methodology.

15 CHAIR APOSTOLAKIS: So your prime  
16 implicants or cut sets have been compared to Mike's --

17

18 MR. ALDEMIR: That's what I said we are  
19 trying to do.

20 CHAIR APOSTOLAKIS: Oh, you're trying to  
21 do. Okay.

22 MR. ALDEMIR: That is something that we  
23 should be -- we can do this qualitatively. Well, we  
24 tried to resolve the --

25 CHAIR APOSTOLAKIS: No, I'm not talking

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 about the numbers. I'm talking about here is what  
2 they found.

3 MR. ALDEMIR: Right.

4 CHAIR APOSTOLAKIS: Eleven prime  
5 implicants that Mike mentioned. Here is what we  
6 found, and if we look at them, they're almost the  
7 same.

8 MR. ALDEMIR: Right. Well, we'll do that  
9 . We'll do that.

10 CHAIR APOSTOLAKIS: Okay.

11 MR. ALDEMIR: Okay. Also, they yield  
12 enough information, or they model the system in such  
13 sufficient detail and completion that the non-digital  
14 IC system portions of the scenario can be properly  
15 analyzed, and so we are not just concentrated on  
16 software issues, and that relates to the question  
17 raised earlier. Well, this is what we would observe  
18 in the analog systems, as well. True, but the  
19 combination may produce new results.

20 CHAIR APOSTOLAKIS: So you guys are taking  
21 now for granted that we are looking at the system  
22 centric approach, right? This is what you're doing,  
23 you're looking at the system itself, and the software  
24 is just embedded in it.

25 MR. ALDEMIR: That's exactly right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 That's the philosophy we have adopted in the  
2 beginning. And, again, as Steve --

3 CHAIR APOSTOLAKIS: But for actuation  
4 systems, that may not be what you want to do.

5 MR. ALDEMIR: Right. But this is  
6 something that, again, how are we going to implement  
7 --

8 CHAIR APOSTOLAKIS: I understand.

9 MR. ALDEMIR: This is a future issue, but  
10 maybe in a kind of hierarchical fashion, use the  
11 classical first, then use DFM, then you go to maybe  
12 more detailed Markov, or maybe put DFM in the  
13 probability mode.

14 CHAIR APOSTOLAKIS: Are there any plans to  
15 look at very simple actuation systems?

16 MR. ALDEMIR: Yes, I think they do. The  
17 second benchmark here we talk about those.

18 CHAIR APOSTOLAKIS: Okay.

19 MR. ALDEMIR: Now, challenges. They have  
20 substantially steeper learning curves and more labor  
21 intensive than conventional event tree/fault tree  
22 methodology, but they can be alleviated by developing  
23 user-friendly tools. And this is also in the further  
24 future plans, not near future.

25 The other challenge, this has come up

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 during this meeting through and through, is that the  
2 failure data used by either methodology for  
3 quantification not necessarily credible to a  
4 significant portion of technical community. However,  
5 as has also been pointed out, there are efforts to  
6 remedy this. And also, both methodologies can be used  
7 in a purely qualitative mode to obtain information  
8 about the important failure modes of the system, even  
9 the numbers are not relevant.

10 And, again, another requirement that we  
11 would like to have is that the methodologies don't  
12 require highly time dependent, continuous plant state  
13 information, and these methodologies do. Depending on  
14 what system we're talking about, if the physics are  
15 there, if the process is complicated, there will be no  
16 way around it. Otherwise, you are not representing  
17 your system. We've got to do this. If, on the other  
18 hand, the system is simple actuation system, you don't  
19 need fancy dynamics and fancy methodologies, or a lot  
20 of states.

21 We haven't even addressed in this problem  
22 the communication issues, for example, in these  
23 digital systems, for example, which may require a  
24 large number of states. But if they don't, simple  
25 actuation systems, maybe even the conventional method

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 would work well. So in that respect, the hierarchical  
2 approach could probably be better, use the standard  
3 fault tree/event tree approach. You want to check  
4 your results, go to the DFM, maybe, and then either  
5 normal mode, probabilistic mode, or maybe go to a more  
6 refined model. So these are, again, speculations as  
7 to how we can practically implement and validate these  
8 methodologies against each other. So, in other words,  
9 kind of -- I don't know if validation is the right  
10 word, or verification, but basically, to make sure  
11 that the results that we are getting make sense.

12           And I think I'll just summarize and leave  
13 it to Steve to talk about future work. So we have  
14 basically specified a digital INC system that can be  
15 used to evaluate methodologies proposed for the  
16 reliability modeling of digital INC systems using a  
17 common set of hardware/software/firmware states. The  
18 benchmark system specification includes procedures for  
19 system component failure mode identification and  
20 failure data acquisition. By failure mode  
21 identification, I mean we are doing an FMEA, and  
22 that's in the report, as well.

23           We have used an example initiating event  
24 to illustrate how these methodologies, the dynamic  
25 flow-graph methodology and Markov methodology can be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 used for the reliability modeling of digital INC  
2 systems. We chose these methodologies because they  
3 were identified as the more promising methodologies by  
4 NUREG 69.01. And both methodologies can be used to  
5 obtain qualitative, as well as quantitative  
6 reliability information for digital systems.

7 We have discussed the possible challenges  
8 with the methodologies, most of which can be resolved.  
9 And, finally, and maybe very importantly, some  
10 properties of the benchmark system considered in this  
11 first, that it may not apply to all reactor protection  
12 and control systems. So if for digital INC systems  
13 which may have less complex interaction between the  
14 failure events, the conventional event tree/fault tree  
15 approach may be adequate for the reliability modeling  
16 of the system.

17 CHAIR APOSTOLAKIS: At the workshop in  
18 August, are you planning to present this to the  
19 industry?

20 MR. ARNDT: Let me answer your question,  
21 then talk a little bit about this issue. The workshop  
22 in August is primarily going to be discussing what  
23 needs to be, and what is appropriate for a regulatory  
24 guide in this area. Obviously, this idea of a graded  
25 approach to the kind of modeling that is necessary is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 one important part of that. It's not the only  
2 important part, but is one important part of that.  
3 And the philosophy, based on what we've learned so  
4 far, will be discussed. I don't know if that answers  
5 your question exactly or not.

6 CHAIR APOSTOLAKIS: How would the  
7 stakeholders understand better what you guys are doing  
8 here? You will give a draft of the NUREG out? No.

9 MR. ARNDT: Not at that point. We're  
10 going to go through a process to both explain our  
11 ideas, starting with the presentation this afternoon  
12 and in the discussion in August, and then finally, the  
13 draft Reg Guide that we sent out for public comment.  
14 At the same time, get input in terms of both what they  
15 consider to be practicable, as well as whether or not  
16 they have significant technical problems with our  
17 approach. So we'll lay out what we think is necessary  
18 in terms of acceptance criteria and modeling detail,  
19 and all the other issues that we talked about, as well  
20 as a structure and strategy for what the Reg Guide  
21 would look like.

22 CHAIR APOSTOLAKIS: When in August is  
23 this?

24 MR. ARNDT: We haven't defined the date,  
25 but we'll probably define that in the next week or so.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

CHAIR APOSTOLAKIS: Okay.

MR. ARNDT: Okay. In terms of the modeling effort, the next steps, and we've talked about some of these and whether or not they should be incorporated in this document we're currently working on, or wait for the next document, we're going to be finishing the detailed reliability modeling of the full benchmark system, look at all the different prime implicants for all the different scenarios, same for the DFM and the conventional approach. We're going to do a qualitative comparison of the different modeling methodologies we've looked at. We're going to do a qualitative evaluation based on the data from field data, as well as the fault injection experiments. We're going to incorporate that into the selected PRA and look at not only can it be done, but how difficult is it in practice, and then we're going to do this again for a separate benchmark, which looks at the other end of the extreme.

The idea of defining two benchmarks is to get as many of the different characteristics as possible in the two different benchmarks. This is an important to safety but not safety system that is a control system that has a lot of dynamic interactions.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 The other benchmark, which is not defined yet, but is  
2 the one that's going to be an actuation system, will  
3 be a simpler system with less dynamics, but probably  
4 higher redundancy and issues like that, because it'll  
5 be a RPS, so it'll have different characteristics.  
6 And from that information, we hope to be able to make  
7 judgments, both in terms of our own modeling  
8 capability and we will require in a regulated  
9 application.

10 That's what we're going to talk about in  
11 terms of the dynamic analysis. This afternoon we're  
12 going to talk about some of the failure issues,  
13 software failure analysis, software database, and a  
14 little bit of the traditional PRA. And then at the  
15 end of the afternoon, we'll have a short discussion of  
16 where we stand in terms of our philosophy right now  
17 for the Reg Guide, and then the industry wants to make  
18 some oral comments.

19 CHAIR APOSTOLAKIS: Any questions from the  
20 persons around the table? Members of the public,  
21 comments, questions?

22 MR. ENZINNA: If you don't mind.

23 CHAIR APOSTOLAKIS: I don't mind at all.

24 MR. ENZINNA: I'm Bob Enzinna. I work at  
25 AREVA in the PRA Department. I have some experience

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 creating PRA models for large INC systems. One  
2 comment. On your slide 51, you've got a matrix there  
3 that fills the page. And I'm noting that this example  
4 you have is fairly simple compared to what we have in  
5 real plants. If you were to do that model on a system  
6 that I've been working on recently, you'd need a much  
7 bigger piece of paper. And I'm concerned about how  
8 this would scale up to a large application, and I  
9 implore you to test that thoroughly before you put  
10 this out there and recommend its use.

11 CHAIR APOSTOLAKIS: Is your approach  
12 available to the staff?

13 MR. ENZINNA: We can talk about that. I  
14 can't make any commitments for my company without  
15 talking to the people that own the systems, but  
16 certainly, we're open to that.

17 The second comment I'd like to make, I'm  
18 having trouble seeing how this dynamic stuff is going  
19 to fit into my PRA. Ninety percent of what I need to  
20 model, I think, in the PRA is the protection system,  
21 the stuff that happens post trip. Most of this  
22 dynamic stuff, the dynamic issues that you're talking  
23 about seem to be applicable to control systems, like  
24 the main feedwater you're talking about, stuff that  
25 systems that mostly are out of the picture once the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reactor trip occurs. Most PRA practitioners wouldn't  
2 even attempt to model initiating event frequencies  
3 with both in a model unless absolutely necessary,  
4 because they're not good predictors. The best  
5 predictor for that is data from operating history, and  
6 I would propose that a reasonable approach for these  
7 systems is to use historical data, use a conservative  
8 value until we got some operating experience to  
9 quantify those frequencies. I can't see putting a  
10 detailed model like this in place to estimate  
11 initiating event frequencies. And main feedwater, the  
12 example you've chosen, you know, has some credit and  
13 some accident sequences after trip, but it's not the  
14 primary defense. It's a non-safety system. The thing  
15 we're relying on the most in accidents like you're  
16 talking about are EFW system, feed and bleed, things  
17 that are safety assured, and are going to be actuated  
18 by the operator, or by the protection system. Thank  
19 you.

20 CHAIR APOSTOLAKIS: Thank you. Anybody  
21 else?

22 MR. NGUYEN: Yes. My name is Thuy, and  
23 I'm a loaned employee to EPRI from EDF, Electricity de  
24 France. I have a question. The digital systems, of  
25 course, do fail, and the research program you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 presented aims at modeling and understanding the  
2 failures, but they also provide, I would say, nice  
3 features that help in making the electro mechanical  
4 equipment more reliable. Is this also part of your  
5 modeling efforts and representing digital systems in  
6 PRA?

7 MR. ARNDT: Yes. And there's two issues  
8 associated with that. One is actually modeling  
9 whatever system it is to the level of complexity  
10 necessary to include the features that are important.  
11 For example, some of the fault tolerant features, the  
12 redundant features and other systems that are  
13 specifically designed to increase the reliability of  
14 the systems.

15 The issue there is, of course, data, but  
16 also to some extent you trade the level of modeling  
17 complexity with the amount of credit you want to give  
18 to these systems that are specifically designed to  
19 improve the reliability. So from a regulatory  
20 standpoint, we have a bit of a challenge there,  
21 because if we wish to take credit for the very good,  
22 and in most cases very effective mechanisms that  
23 modern digital systems have to increase their  
24 reliability, fault tolerant systems, high quality  
25 components, redundancy, and things like that, we also

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have to find a mechanism by which to validate they're  
2 operating correctly, and that they're being modeled  
3 appropriately. So we are aware of that, we want to  
4 include those features in our modeling, but the  
5 challenge is by including those features in our  
6 modeling, it adds to the complexity of the modeling.  
7 So yes, we are aware of those issues, and are looking  
8 at that as part of our research.

9 To go back to the earlier gentleman's  
10 comments, we are aware that there is a large number of  
11 systems that will probably be able to be modeled at a  
12 less complicated level than what we're talking about  
13 here. The point of this work is to understand where  
14 those thresholds are, as well as understand what is  
15 acceptable associated with modeling of the more  
16 complex systems. The system we chose right here is  
17 relatively simple in terms of the size of the system.  
18 More complicated systems can be modularized and dealt  
19 with in that way, if necessary, based on their  
20 complexity, and what actions they take based on the  
21 process. And I'm sure we will have some more  
22 discussions about this at the end of the day.

23 CHAIR APOSTOLAKIS: Any other comments?  
24 Okay. Thank you very much, Steve and Tunc, and  
25 Michael and Carl. We'll recess until 1:00.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 (Whereupon, the proceedings went off the  
2 record at 12:01:37 p.m. and went back on the record at  
3 1:06:09 p.m.)

4 CHAIR APOSTOLAKIS: Okay. We're back.  
5 Steve, you want to introduce the subject?

6 MR. ARNDT: Yes. We're now going to have  
7 a series of presentations led by Todd Hilsmeier, who  
8 is working on some of the data issues, and also the  
9 traditional reliability modeling methods, and some of  
10 the folks from Brookhaven National Laboratory. And at  
11 the conclusion of that part of the discussion, I'll  
12 lead a short discussion of where we are on development  
13 of regulatory guidance. With that short introduce,  
14 I'm going to turn it over to Todd.

15 MR. HILSMEIER: Thank you, Steve. My name  
16 is Todd Hilsmeier from Office of Nuclear Regulatory  
17 Research, and Division of Assessment of Special  
18 Project. And today, Louis Chu from Brookhaven  
19 National Laboratory, Gerardo Martinez from Brookhaven,  
20 and myself will be presenting development of a  
21 probabilistic approach for modeling failures of  
22 digital systems using traditional PRA methods.

23 The presentation outline will include a  
24 background information review of the project plan that  
25 we presented last year at the ACRS Subcommittee

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Meeting, then provide the status of the project, then  
2 we'll go into the meat of the presentation, which  
3 Louis Chu from Brookhaven National Lab will discuss  
4 development of the failure parameter database for  
5 hardware, and Gerardo Martinez and Louis Chu will  
6 review the software failure events induced by software  
7 faults.

8           Regarding background information, NRC has  
9 a very comprehensive digital system research plan, and  
10 part of that plan is to develop probabilistic failure  
11 models for digital systems that can be integrated into  
12 PRAs using dynamic and traditional PRA methods, as  
13 Steve Arndt pointed out earlier in the day. And the  
14 digital system PRA project, which is a project that  
15 we're working on, uses traditional PRA methods to  
16 develop probabilistic failure model for digital  
17 systems. And this chart was presented earlier today  
18 by Steve Arndt, and it shows the NRC's digital system  
19 risk program. And as you see, NRC is developing  
20 dynamic methods and traditional methods, and both  
21 methods feed into the development of the regulatory  
22 guidance.

23           And though we're working on these methods  
24 in parallel, we're also working together to develop  
25 the methods through exchange of information, through

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 peer review of each other's products, and through  
2 meetings to make sure that we're on schedule and  
3 meeting each other's needs.

4 Matter of fact, Bill Kemper and Steve  
5 Arndt, they're, in my eyes, are our customer. And  
6 because this project is very challenging, it's all  
7 about team work. And tomorrow we have a technical  
8 meeting between the dynamic group and traditional  
9 methods group to discuss future steps of the project.  
10 And then on Thursday, the dynamics group and  
11 traditional group will be going to NASA to discuss  
12 exchange of digital system data between the  
13 organizations.

14 CHAIR APOSTOLAKIS: Which NASA are you  
15 visiting?

16 MR. HILSMEIER: The headquarters with Dr.  
17 Dezfuli and Mike Stamatelatos.

18 CHAIR APOSTOLAKIS: Stamatelatos.

19 MR. HILSMEIER: Yes. Thank you.

20 CHAIR APOSTOLAKIS: An easy name.

21 MR. HILSMEIER: So we're looking forward  
22 to that meeting. This should be useful for both  
23 projects.

24 The objective of the digital system PRA  
25 project is to develop probabilistic failure model for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 digital systems using traditional PRA methods. And  
2 also, the objective is to provide input into the reg  
3 guidance on PRA modeling of digital systems.

4 This slide shows a high level summary of  
5 the research plan using traditional PRA methods to  
6 develop probabilistic failure model for digital  
7 systems. And the detailed research plan, as I  
8 mentioned earlier, was presented at ACRS Subcommittee  
9 meeting last year, and tasks one and two involves  
10 seeing how other industries model and manage digital  
11 system reliability. And this task was completed and  
12 presented at last year's ACRS Subcommittee meeting.

13 Task three involves documentation of our  
14 results of our work, and that's ongoing. And task  
15 four involves developing a failure mode effect  
16 analysis, and dependency analysis for digital  
17 feedwater control system, which is our case study.

18 CHAIR APOSTOLAKIS: Why not a fault tree  
19 analysis?

20 MR. HILSMEIERS: Excuse me?

21 CHAIR APOSTOLAKIS: That was proposed in  
22 the mid-80s, right, to use fault tree analysis to  
23 identify failure modes? Everybody keeps saying FMEA,  
24 and I'm wondering why they leave fault trees out.

25 MR. HILSMEIERS: We will be doing the fault

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 trees during the development of the hardware and  
2 software. The purpose of the FMEA is to learn and  
3 understand the digital system.

4 CHAIR APOSTOLAKIS: Well, fault tree --

5 MR. HILSMEIER: Right.

6 MR. MARTINEZ-GURIDI: Well, in my mind,  
7 also what happens, when you build a fault tree, you  
8 already know what failure modes of the system are  
9 there, and so you use the fault tree to combine them  
10 to reach the top event. But before you build the  
11 fault tree, you need to know how each component fails,  
12 and what is going to be the impact on the system. So  
13 I see FMEA as a preliminary step to the fault tree.

14 CHAIR APOSTOLAKIS: But you don't say  
15 fault tree at all.

16 MR. HILSMEIER: But the fault tree is  
17 actually a --

18 CHAIR APOSTOLAKIS: Put FMEA, fault trees,  
19 all these things help you understand the system.

20 MR. HILSMEIER: Correct. Then task five,  
21 six, and seven involves developing a probabilistic  
22 failure model for the hardware of the system, with  
23 task five involving development of the failure rate  
24 database for hardware. And Louis Chu will be  
25 discussing this task in detail. And then task six and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 seven involves developing and quantifying the  
2 probabilistic failure model for hardware using a fault  
3 tree analysis. And tasks eight and nine involve  
4 developing and quantifying a probabilistic failure  
5 model for software, realizing that software is system  
6 centric. With task 8A, reviewing system failure  
7 experience induced by software faults, which Gerardo  
8 Martinez and Louis Chu will be presenting in detail  
9 today. And task 8A is completed, but is currently  
10 being evaluated by NRC. The dynamics group is  
11 evaluating our work along with myself. And the rest  
12 of tasks eight and nine involve development of the  
13 software reliability model, including answering  
14 questions, are software failure rates meaningful, and  
15 developing a linkage between software and hardware,  
16 and quantifying the model.

17           Once we establish the linkage between  
18 software and hardware in task ten, we'll combine the  
19 two models. Then in task eleven, integrate the  
20 digital system probabilistic failure model into the  
21 PRA. And the next presentation will be discussing  
22 task five.

23           CHAIR APOSTOLAKIS: Is the EPRI report  
24 you're referring to the one we discussed at the last  
25 meeting?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. HILSMEIER: Yes, it was.

2 CHAIR APOSTOLAKIS: You are still  
3 developing a position?

4 MR. HILSMEIER: No.

5 CHAIR APOSTOLAKIS: It's a year now.

6 MR. HILSMEIER: Right. We're not still  
7 developing a position, but this plan shows everything  
8 that we've done. We no longer are studying this  
9 guide.

10 CHAIR APOSTOLAKIS: Oh, you're not.

11 MR. HILSMEIER: No.

12 CHAIR APOSTOLAKIS: So you have a  
13 position.

14 MR. HILSMEIER: Well, we have a position  
15 as far as how it's useful to us in the development of  
16 the traditional PRA method.

17 CHAIR APOSTOLAKIS: Are you expected to  
18 send the formal opinion to EPRI?

19 MR. HILSMEIER: Steve would have to answer  
20 that.

21 MR. ARNDT: The EPRI report was submitted  
22 for our review, and I don't want to go into the gory  
23 details, but it was determined we would not review it  
24 formally for SER at that time, from an agency  
25 standpoint. The task he's referring to is learning

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 from what was proposed in that methodology. At a  
2 future time they may resubmit it, and we may decide to  
3 write an SER against it. We looked at it from how we  
4 can use it to help develop the traditional model.

5 CHAIR APOSTOLAKIS: So the first one -- we  
6 have two reports from BNL.

7 MR. HILSMEIER: Correct.

8 CHAIR APOSTOLAKIS: Which one are you  
9 presenting first?

10 MR. HILSMEIER: The first one would be  
11 development of the failure parameter database.

12 CHAIR APOSTOLAKIS: Neither one has a  
13 title.

14 MR. HILSMEIER: Excuse me?

15 CHAIR APOSTOLAKIS: Collection of Failure  
16 Data, or a Review of Software Induced Failures?

17 MR. HILSMEIER: Collection of Failure  
18 Data.

19 CHAIR APOSTOLAKIS: Okay.

20 MR. HILSMEIER: And the objective of this  
21 report is to develop failure parameter database for  
22 digital hardware based on currently available data for  
23 quantifying digital system reliability models. And  
24 the approach analysis will be presented by Louis Chu  
25 from Brookhaven National Lab.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CHU: I'm presenting our work,  
2 developing hardware failure database for digital  
3 systems hardware. The outline will include our  
4 objectives, review of available failure rate database,  
5 some comments on hardware reliability protection  
6 methods, and then I'll talk about use of hierarchical  
7 Bayesian analysis to come up with generic estimates of  
8 component failure rates, some conclusions, what we've  
9 done and some proposed additional data collection.

10 The objective of this task is to develop  
11 a generic failure parameter database of digital  
12 components based on currently available data in  
13 support of developing reliability models, such as  
14 fault trees, Markov models of digital systems.

15 CHAIR APOSTOLAKIS: So what failure  
16 parameters are you talking about?

17 MR. CHU: Component failure rates.  
18 Hardware component failure rates.

19 CHAIR APOSTOLAKIS: Of the computer you  
20 mean? Hardware --

21 MR. CHU: Yes, like microprocessors,  
22 memories.

23 CHAIR APOSTOLAKIS: Okay. All right.

24 MR. CHU: Okay. The approach we use is  
25 review of available methods and database, and then we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 came up to the understanding there's not too much out  
2 there, and we tried to do what we can with the  
3 available data, and we performed this analysis using  
4 data extracted out of PRISM.

5 This viewgraph summarizes the review of  
6 failure rate databases. The existing nuclear  
7 databases do not contain digital component failure  
8 rates. For example, IEEE standard, SPAR database, the  
9 T-book, the ZEBD, the Swedish database, they don't  
10 contain digital component failure rates.

11 CHAIR APOSTOLAKIS: What is the definition  
12 of a database? I mean, the IEEE standard is really  
13 the judgment of the people they polled, and this is  
14 qualified to be called a database? I mean, you could  
15 say it's a general term, but when I hear database, I  
16 usually have in mind something that has real data in  
17 it.

18 MR. CHU: Yes. What we have in mind is  
19 something that was estimated based on real data.

20 CHAIR APOSTOLAKIS: So IEEE standard  
21 wouldn't qualify.

22 MR. CHU: I thought some of that would --  
23 I mean, they don't have digital components, but I  
24 thought some of that was based on actual data.

25 CHAIR APOSTOLAKIS: It's really expert

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 opinion. Now the expert opinion may have been --

2 MR. CHU: Based on some kind of data.

3 CHAIR APOSTOLAKIS: May have included  
4 experience with actual failures. And SPAR, SPAR is  
5 out kid. Right? We're trying to help them. Anyway,  
6 I mean, I'm nitpicking now. AP600, what do these guys  
7 say?

8 MR. CHU: It has some high level, I would  
9 say crude model of digital systems, and it contains  
10 some, you know, I call it scatter data. If you look  
11 into their database, they probably have some estimated  
12 failure rate of a microprocessor, or maybe a  
13 particular circuit board. And if you look more  
14 carefully, you try to trace how the failure rates were  
15 estimated. Typically, you found it's based on say  
16 Westinghouse proprietary data. And it's scattered in  
17 the sense that it doesn't cover all the components  
18 that you can think of in a digital system. And if you  
19 look at papers, you can see some -- some papers  
20 collect some data in a particular study, the estimated  
21 failure rate of a programmable logic controller. But  
22 then our attempt is try to come up with something  
23 generic such that when you do a study, if you collect  
24 specific component failure rates of the system you are  
25 studying, you can possibly use that data to update

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this generic failure rate.

2 CHAIR APOSTOLAKIS: Is it correct to say  
3 that of all these databases you have there, it's  
4 really the LER database that gives you real data?

5 MR. CHU: LER and EPIX gives you nuclear  
6 data.

7 CHAIR APOSTOLAKIS: EPIX doesn't have much  
8 on digital INC. Right?

9 MR. CHU: Well, even LER, you know, it's  
10 required, you're required to have LER. It has some  
11 reporting criteria, you have to violate tech spec, or  
12 you -- therefore, certain failure may not get  
13 reported. And another difficulty with use of LER is  
14 that often you see some failure, but then you don't  
15 know how many of the same components are being used at  
16 a plant, and how long they've been operating.

17 CHAIR APOSTOLAKIS: But they are real  
18 data.

19 MR. CHU: Right. And while I call the  
20 hardware reliability prediction method that is the  
21 military handbook to Telcordia and PRISM, supposedly  
22 they developed their model based on actual data, too.  
23 But then they came up with empirical formula that you  
24 just apply. In case of PRISM, I know, because we  
25 looked into the raw data and we extracted the raw data

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to do our --

2 CHAIR APOSTOLAKIS: What does PRISM stand  
3 for? Do you remember?

4 MR. CHU: My understanding is it's not an  
5 abbreviation of anything. It's just a name they  
6 chose.

7 MR. MARTINEZ-GURIDI: PRISM is a system  
8 that was developed by the Reliability Analysis Center,  
9 and PRISM is actually software that contains the  
10 database developed by this organization, that you can  
11 query to get the information.

12 CHAIR APOSTOLAKIS: And this center is  
13 military?

14 MR. MARTINEZ-GURIDI: No, it's a company.

15 CHAIR APOSTOLAKIS: Oh.

16 MR. MARTINEZ-GURIDI: They are mainly  
17 funded by Department of Defense.

18 MR. CHU: So --

19 CHAIR APOSTOLAKIS: SINTEF?

20 MR. CHU: SINTEF is an organization. I  
21 have its name. Let me see.

22 CHAIR APOSTOLAKIS: Yes, I know. It's a  
23 Norwegian company, but where did they get their data  
24 from?

25 MR. CHU: We haven't looked into it yet.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 It just came to us. They came up with a data handbook  
2 dated 2006, I believe, so that's another source of  
3 information to look into. And the claim is that they  
4 have data to support the Markov model described in the  
5 IEC standard.

6 A few things on reliability prediction  
7 method. They include Handbook 217, Telcordia and  
8 PRISM. The problem with this method is that they  
9 attempt to capture many causes variability explicitly,  
10 and such attempt is too ambitious. That is, they  
11 introduce all kinds of high factors to adjust the base  
12 failure rates, and they use empirical formula. My  
13 speculation is that some of the factors, high factor  
14 they estimated based on actual data, but then they  
15 extrapolate.

16 CHAIR APOSTOLAKIS: Do you know what kind  
17 of review these things get?

18 MR. CHU: I know there's a Professor York  
19 Maledon, provide quite critical --

20 CHAIR APOSTOLAKIS: Just a professor?

21 MR. CHU: Yes. He had written several  
22 papers criticizing the accuracy of this type of  
23 method.

24 CHAIR APOSTOLAKIS: So really, they have  
25 not been reviewed --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CHU: And he's only looking at it at  
2 the level of the results. And I think what needs to  
3 be scrutinized is how those factors were derived.

4 CHAIR APOSTOLAKIS: Oh, sure.

5 MR. CHU: In principle, they have some  
6 kind of internal document that's not available to us.  
7 But in general, you could say we could ask for those  
8 bases studies that came up with it.

9 CHAIR APOSTOLAKIS: They're probably like  
10 the pro forma shaping factors in a reliability  
11 analysis. You do what you like.

12 MR. CHU: Chances are, say in one case  
13 they came up with an estimate, you know, military  
14 equivalent is a factor three better than commercial  
15 one. And three may be used whenever you need you have  
16 a situation, but how accurate is. This is my  
17 speculation. Also, it's kind of based on what I know  
18 about the current data that they have. I'm going to  
19 show you in a later viewgraph. So use of empirical  
20 formula is not that accurate.

21 But on the other hand, I guess there isn't  
22 much other method out there, or data out there. They  
23 essentially add the failure rates of components to get  
24 a failure rate of a circuit board. And when it comes  
25 to redundancy, then you have to model separately. So

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 they calculate the failure rate of a circuit board,  
2 and treating it as a series system, a system consists  
3 of components in series. And then if you have two  
4 circuit board, two redundant circuit board, then you  
5 have to model separate using something like fault tree  
6 or Markov model. So one issue is the accuracy of the  
7 empirical formula. And certainly, they didn't look  
8 into the uncertainty associated with it. At one  
9 point, I asked what about uncertainty? They just said  
10 there's so many uncertainties, they cannot account for  
11 it.

12 CHAIR APOSTOLAKIS: So large that we don't  
13 care about it. Right? So you actually talked to  
14 people who are responsible for these databases. You  
15 just didn't --

16 MR. CHU: I went to a training session on  
17 the PRISM software, and used that opportunity to ask  
18 some questions.

19 CHAIR APOSTOLAKIS: Very good.

20 MR. CHU: In looking at those reliability  
21 prediction methods, you know, they are software tools  
22 that implement the method. They only help you to  
23 estimate component failure rates, but they don't give  
24 you raw data. PRISM is an exception. It turns out in  
25 this database, they included the raw data in the form

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of a number of failures, number of hours. So we  
2 extracted this kind of raw data and used it in our  
3 analysis. The problem with it is there's very large  
4 variation in the data that is from different sources,  
5 you get very different estimates.

6 This viewgraph shows the data we extracted  
7 for one component. I think this is the data for  
8 random access memory, and the table shows - the first  
9 column is quality, typical, it's commercial or  
10 military. Environment GB means ground-based, and GM  
11 means ground-mobile. And next two columns are the raw  
12 data, the number of failures, the number of hours.  
13 And the last column shows a point estimate.  
14 Basically, for those sources that have failure, I just  
15 do a simple division. In this case, 12 failures in  
16 this amount of time, and you get some point estimate.  
17 If you look at this last column, you can see the point  
18 estimate varies from probably .1 to 10 to the minus 3.  
19 There's a lot of --

20 CHAIR APOSTOLAKIS: A million hours.

21 MR. CHU: Yes.

22 MR. HICKEL: You've got to add a six on to  
23 those. I just have a simple question. And you're  
24 obviously trying to collect data on electronic  
25 components, but the thing that is probably most needed

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 by the Agency is the ability to extrapolate that to  
2 something that might appear in a digital INC system.  
3 To be able to know you can make that extrapolation,  
4 don't you also have to know that the mode in which  
5 that equipment was used, the way it was  
6 environmentally qualified, and run in a power plant  
7 environment with tech specs and daily shift checks and  
8 all that sort of stuff. How do you know that data  
9 from, I don't know, NASA launch facility is equivalent  
10 to a control system in a power plant? How do you make  
11 that equation?

12 MR. CHU: This is why we use the  
13 hierarchical Bayesian analysis, that is in this  
14 method, we account for the variability from different  
15 conditions, different source, like those factors that  
16 affect the failure rates.

17 MR. HICKEL: Right.

18 MR. CHU: The factors could be the  
19 quality, could be the operating environment, and this  
20 population variability distribution captures such  
21 variability. And then when you do a specific study,  
22 you may obtain some failure data. Then you further do  
23 a Bayesian updating to specialize the failure rates.

24 CHAIR APOSTOLAKIS: You will talk about  
25 that at some point?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. HICKEL: Because I'm just betting that  
2 somebody from NEI is going to come in and say well,  
3 that's very interesting, but that data doesn't reflect  
4 anything we're using. I'm just trying to understand  
5 how specific this is to a nuclear power plant INC  
6 system.

7 CHAIR APOSTOLAKIS: You will tell us how  
8 to do that later?

9 MR. CHU: Later we have some suggestions  
10 to do additional data work.

11 CHAIR APOSTOLAKIS: No, no, no, the  
12 Bayesian hierarchical thing, you're going to talk  
13 about that?

14 MR. CHU: Oh, yes. I have two viewgraphs  
15 explaining that.

16 CHAIR APOSTOLAKIS: Okay. So let's take  
17 one entry here, take the first one, number of failures  
18 - 12, 633 million hours?

19 MR. CHU: Yes, million hours.

20 CHAIR APOSTOLAKIS: Million hours. So  
21 this was commercial, and this is a particular system,  
22 so this is the experience of some organization? You  
23 didn't collect each one.

24 MR. CHU: We didn't. When we asked about  
25 the source of the data, the kind of information we got

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 was something like this source of data is warranty  
2 repair data from the manufacturer. You don't know  
3 what the manufacturer is, just a few words  
4 description.

5 CHAIR APOSTOLAKIS: No, but who recorded  
6 the 12 failures in 633 million hours?

7 MR. CHU: Manufacturer --

8 CHAIR APOSTOLAKIS: Oh, the manufacturer.

9 MR. CHU: -- of that particular component.

10 CHAIR APOSTOLAKIS: And the manufacturers  
11 are different in the different --

12 MR. CHU: It's not identified; therefore,  
13 I don't know. It could well be different  
14 manufacturers.

15 CHAIR APOSTOLAKIS: So the variability we  
16 see in the last column, is this variability due to  
17 different manufacturers, due to different  
18 environments?

19 MR. CHU: Yes.

20 CHAIR APOSTOLAKIS: Yes, both?

21 MR. CHU: Everything.

22 CHAIR APOSTOLAKIS: Both. Oh.

23 MR. CHU: Yes. And, of course, you can  
24 argue maybe you should treat commercial equipment  
25 separate from military, but if you look at the data --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

CHAIR APOSTOLAKIS: The commercial - no, they're almost the same, aren't they?

MR. CHU: It's hard to tell them apart. That's another thing. By just looking at this data, it's hard to say that military equipment are better. Therefore -- and if you group them separately, you may not have enough data to do the analysis. And supposedly, this is the kind of data that PRISM or the Reliability Analysis Center used in coming up with their --

CHAIR APOSTOLAKIS: Did they have this for all the components of interest to us?

MR. CHU: We extracted all the data that we were able -- that's in the PRISM database.

CHAIR APOSTOLAKIS: No, but I mean, you were able to find information like this for all the components we're interested in?

MR. CHU: I'm not sure, but there were some 30 components as defined in the PRISM tool. They have raw data, so we just extract all of them. We haven't tried to develop our model of the digital system, so when we do that, we'll know. But these components tend to be at a lower level, as you will see. That's kind of what we hope to do, at least do

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it once, and try to do a detailed analysis, understand  
2 the design, and learn from it. And then see how we  
3 can possibly -- the method can be simplified, the  
4 model can be simplified.

5 CHAIR APOSTOLAKIS: Now what if, let's say  
6 again the first row, look at -- we don't know how many  
7 components you have. Right? We just know the total  
8 number of hours.

9 MR. CHU: Right.

10 CHAIR APOSTOLAKIS: Is it possible that  
11 the 12<sup>th</sup> failure was due to a design error, and that  
12 error was not present in the other 11, of course, not  
13 also in the ones that operated successfully. So why  
14 then -- I mean, just because we have number of hours  
15 and number of failures, why are we jumping into a  
16 failure rate? How do you know that there is a rate?  
17 Maybe one or two of them had a design error and they  
18 failed immediately. Do you know that all these 12  
19 were components that operated for a certain period,  
20 and then failed?

21 MR. CHU: No, we don't have that  
22 information.

23 CHAIR APOSTOLAKIS: You don't know.

24 MR. CHU: All we have is what's in these  
25 two columns.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIR APOSTOLAKIS: Okay. So then I'm  
2 arguing that you're making a pretty serious assumption  
3 there, that there is such a thing as a failure rate,  
4 because some of them may have had a design flaw and  
5 they failed right away. It was not a matter of  
6 failure due to random causes, lambda, usually lambda.  
7 I think these failure rates are so prevalent here, and  
8 very few people are questioning whether they're  
9 appropriate. So if you don't know what kinds of  
10 failures these are, then it seems to me getting a  
11 failure rate is probably not such a great idea.

12 MR. CHU: Well, we just don't have that  
13 information. Let me explain a little bit more.

14 CHAIR APOSTOLAKIS: I understand that you  
15 don't have it.

16 MR. CHU: The total number of hours  
17 actually is the sum over certain reporting periods,  
18 different years, so we added them up.

19 CHAIR APOSTOLAKIS: Sure.

20 MR. CHU: So there is a little more  
21 detail, information --

22 CHAIR APOSTOLAKIS: Well, let's take  
23 pumps, okay? And I start with 10 pumps in my test.  
24 I start them, two of them fail right away. They don't  
25 work at all, and the other ten fail at some intervals.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Is it reasonable to take the total number of failures  
2 and total number of hours they operated, and divide  
3 them and get the failure rate? Is that representative  
4 of what happened? No, because two of them never  
5 worked.

6 MR. HILSMIEIER: Would that be kind of just  
7 failed to start, for the two that never started?

8 CHAIR APOSTOLAKIS: That's right. And  
9 maybe they had a design flaw.

10 MR. HILSMIEIER: Right.

11 CHAIR APOSTOLAKIS: So here, I don't know  
12 why we're jumping immediately to the principle of  
13 failure rate. We don't know. Fine, we don't know,  
14 but we are adding more information here which is not  
15 based on what the database is telling us. And the  
16 reason I'm saying that is because you, yourselves,  
17 later will tell us 36 percent of the errors were due  
18 to some requirements problem.

19 MR. CHU: Those are software failures.  
20 These are hardware failures.

21 CHAIR APOSTOLAKIS: Yes, these are  
22 hardware.

23 MR. HILSMIEIER: One of the limitations of  
24 this data is it's not failure mode specific, so we  
25 kind of had -- which you're going to need for fault

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 trees.

2 CHAIR APOSTOLAKIS: All I'm saying is that  
3 most people would look at this table and think it's  
4 natural to go to the last column, and I'm not saying  
5 that it's natural to do that, because you don't know  
6 how they failed. You don't have to assume the failure  
7 rate exists automatically. I mean, if there was a  
8 design flaw, there was a design flaw. And strictly  
9 speaking, they should be accounted for in their  
10 unavailability calculation. We just don't know. If  
11 it was a failure rate, and this would be a point  
12 estimate.

13 MR. HILSMIEIER: That's a good comment.  
14 We'll look into that.

15 MR. HICKEL: Got to have the pedigree to  
16 know how to do the calculation.

17 CHAIR APOSTOLAKIS: Yes. I mean, just  
18 taking -- that's why it's important to have a model in  
19 your mind when you do the data investigation. And  
20 here without really saying so, you assume the model,  
21 the exponential failure distribution.

22 MR. CHU: I'll put it this way, that's the  
23 only data we were able to find. And I'm glad --

24 CHAIR APOSTOLAKIS: The only data you were  
25 able to find is in the first four columns. The fifth

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 column you created.

2 MR. CHU: Right. It's just providing an  
3 indication of a point estimate. We're not using that  
4 for other purpose.

5 CHAIR APOSTOLAKIS: I understand, but do  
6 you understand what I'm saying?

7 MR. CHU: Yes.

8 CHAIR APOSTOLAKIS: Okay.

9 MR. ELKS: I believe I can add some  
10 clarification. Carl Elks, University of Virginia. I  
11 used the RAC PRISM database, as well. And when I  
12 talked to them about this table, I was concerned much  
13 about the same issues as like where did you get this  
14 data, is infant mortality rate factored into it or is  
15 it not? The answer that I got back from their experts  
16 was the infant mortality rate was factored out, so  
17 this was stuff that occurred later in time.

18 CHAIR APOSTOLAKIS: They actually operated  
19 for a --

20 MR. ELKS: Yes. Now that's off-the-record  
21 from one of their vendors. Okay.

22 CHAIR APOSTOLAKIS: If that's the case,  
23 then the failure rate estimate makes sense.

24 MR. CHU: So with that column, we  
25 performed Bayesian analysis to derive population

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 variability curves shown in this figure.

2 CHAIR APOSTOLAKIS: This is a two-stage  
3 Bayesian, is that what it is?

4 MR. CHU: Yes, but we used what's called  
5 hierarchical Bayesian, and it's said to be a more  
6 general method. But the underlying model is the same,  
7 the difference - the way I see it is only in solving  
8 the problem, how you numerically solve the problem.  
9 Like the typical two-stage analysis, people just  
10 discretize distribution.

11 CHAIR APOSTOLAKIS: Yes.

12 MR. CHU: Hierarchical Bayesian used Monte  
13 Carlo simulation in solving it.

14 CHAIR APOSTOLAKIS: Yes, alpha and beta,  
15 the parameters of which distribution?

16 MR. CHU: Of the population variability.

17 CHAIR APOSTOLAKIS: I mean, have you  
18 assumed the form?

19 MR. CHU: Yes. We made different  
20 assumptions, such as uniform exponential, log normal.

21 CHAIR APOSTOLAKIS: If it's exponential,  
22 you have only one parameter. Right?

23 MR. CHU: Right. No, on the population  
24 variability curve we assume either log normal or  
25 gamma.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIR APOSTOLAKIS: Okay.

2 MR. CHU: But on these parameters --

3 CHAIR APOSTOLAKIS: Yes, I understand.

4 MR. CHU: -- they are further distributed.

5 So the underlying model is that we have data from  
6 different sources, different plants, or different  
7 manufacturer, and this curve is used to characterize  
8 that variability. Therefore, the data from different  
9 sources has failure rates that are samples from  
10 distribution. And with the data from different  
11 sources, we go through the statistical analysis to  
12 estimate this distribution.

13 CHAIR APOSTOLAKIS: So then the question  
14 then that Dr. Hickel asked earlier, this is the  
15 answer, that you have a broad curve that represents  
16 different manufacturers, different environments, and  
17 so on. But then there is another assumption there  
18 that the environment and manufacturer of your  
19 application in a nuclear plant is part of this  
20 ensemble.

21 MR. CHU: Right.

22 CHAIR APOSTOLAKIS: Which is another  
23 assumption, because I don't know if those guys have  
24 Appendix B. Okay? Or the equivalent, so our  
25 environment is probably better controlled, so maybe we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 are on the low side. Maybe.

2 MR. CHU: Hopefully, if you have some  
3 data, then you further analyze it.

4 CHAIR APOSTOLAKIS: Oh, yes. You start  
5 with hopefully, you could say anything you want. But  
6 this is a good idea, I mean, trying to get there, and  
7 then maybe you can modify the curve to allow for the  
8 fact that we have all these controls and so on.

9 MR. CHU: Yes.

10 CHAIR APOSTOLAKIS: That's a funny looking  
11 distribution there, Louis. A little more tilted to  
12 the left and it would be really a strange beast. In  
13 fact, we would be wrong if you did it that way.  
14 Almost vertical there, isn't it? Is it freehand or -  
15 can't be because it's smooth.

16 MR. CHU: I don't remember how we came up  
17 with this.

18 CHAIR APOSTOLAKIS: So what is  $\mu-I$ ?

19 MR. CHU:  $\mu-I$ , it's just  $\lambda$  times  $T$ .  
20 This is a notation within the --

21 CHAIR APOSTOLAKIS: Oh,  $T$  to the minus  
22  $\lambda T$ . Okay.

23 MR. CHU: Yes, this is just a notation  
24 within the win BUGS, or hierarchical Bayesian method.  
25 This method is kind of advocated in the NRC handbook

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 on parameter estimation.

2 CHAIR APOSTOLAKIS: Parameter estimation,  
3 yes.

4 MR. CHU: And we used it, and we recognize  
5 there's still some problem with the guidance here.

6 CHAIR APOSTOLAKIS: There's no problem  
7 with the method. The problem is what we just  
8 discussed. I mean, the assumptions that go behind  
9 this, is my environment, are my components part of  
10 this ensemble that I get.

11 MR. CHU: Yes.

12 CHAIR APOSTOLAKIS: That's really the  
13 fundamental question.

14 MR. CHU: Yes.

15 CHAIR APOSTOLAKIS: Should I stress the  
16 distribution on the low side to account for those, and  
17 if I decide to do that, how am I going to do it so I  
18 can defend it. These are the real issues here,  
19 whether you -- I know what this method is. It's okay,  
20 theoretically it's okay. Who are the Brookhaven  
21 Science Associates, by the way? You?

22 MR. CHU: This is the company that manages  
23 Brookhaven Lab.

24 CHAIR APOSTOLAKIS: Okay.

25 MR. CHU: It's formed by people from the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 universities, and BATEL Lab.

2 CHAIR APOSTOLAKIS: I thought it was a  
3 group within Brookhaven, but it's a hierarchical base.  
4 Right? It's higher.

5 MR. CHU: I've shown an example of the  
6 kind of data, and we extracted data for 30 components.  
7 And WinBUGS is the software that we used.

8 CHAIR APOSTOLAKIS: Who developed that?

9 MR. CHU: I'm sorry?

10 CHAIR APOSTOLAKIS: WinBUGS, who developed  
11 it?

12 MR. CHU: I think some people --

13 CHAIR APOSTOLAKIS: Oh, it's a commercial

14 -- MR. CHU: Yes, it's available. You go to  
15 the website, sign up for it and you can download it.  
16 It's some British professor, probably.

17 CHAIR APOSTOLAKIS: Some who?

18 MR. CHU: British professor. I have some  
19 reference. I don't recall the --

20 CHAIR APOSTOLAKIS: He spells bayes with  
21 a lower a B?

22 MR. CHU: Okay. It solved the model by  
23 performing simulation. In our analysis of these data,  
24 we assumed failure rates were either log normal and  
25 gamma distribution --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIR APOSTOLAKIS: You mean the failure  
2 rate distributions were log normal, not the failure  
3 rates.

4 MR. CHU: Right. The distributions, yes.

5 CHAIR APOSTOLAKIS: And the generic  
6 distributions.

7 MR. CHU: Yes. And further, the  
8 parameters of the distribution --

9 CHAIR APOSTOLAKIS: So let's look at the  
10 results. Yes, this is fine, I believe, we believe.

11 MR. CHU: The result is that because the  
12 data is very scattered, so --

13 CHAIR APOSTOLAKIS: Don't you have a curve  
14 somewhere? No? Okay.

15 MR. CHU: Some results, two viewgraphs of  
16 results. The problem appears to be the error factor  
17 is --

18 CHAIR APOSTOLAKIS: Wait, wait, wait.  
19 What you are showing here is the average curve, isn't  
20 it?

21 MR. CHU: Yes.

22 CHAIR APOSTOLAKIS: The average curve, so  
23 you have average overall values of alpha and beta?

24 MR. CHU: Right.

25 CHAIR APOSTOLAKIS: And this is the curve

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that you are showing us. Okay.

2 MR. CHU: Right.

3 MR. HICKEL: Okay. Can I -- this list of  
4 components here, this is from LER, PRISM, RAC?

5 MR. CHU: PRISM.

6 MR. HICKEL: PRISM only.

7 CHAIR APOSTOLAKIS: Yes. The kind of data  
8 he showed earlier. So what do we learn from this,  
9 Louis? I see some error factors that are pretty  
10 significant there, 173.

11 MR. CHU: Just too wide.

12 CHAIR APOSTOLAKIS: Oh, I don't know that  
13 it's too wide. I mean, maybe that's the reality.  
14 Right? I would say that the four point date is too  
15 narrow. What is the message from all this?

16 MR. CHU: There's very large variability  
17 among different -- the same type of component from  
18 different manufacturer or different sources.

19 CHAIR APOSTOLAKIS: But explain the  
20 largest error factor, I presume this is not normal,  
21 right?

22 MR. CHU: Yes.

23 CHAIR APOSTOLAKIS: Is 173, and on the  
24 left you say error. What does that mean?

25 MR. CHU: No.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIR APOSTOLAKIS: Component is error?

2 MR. CHU: No, it should continue to error  
3 detection or error collections.

4 CHAIR APOSTOLAKIS: Oh. Oh.

5 MR. CHU: That's one component. As to the  
6 definition of component, there's uncertainty to what  
7 does that mean when it says error  
8 detections/collection.

9 CHAIR APOSTOLAKIS: Is that the component?  
10 I don't know.

11 MR. CHU: We tried to get some explanation  
12 to the component, but these names are strictly  
13 extracted from PRISM, and in our report we tried to  
14 give some explanation of what the component - what we  
15 think the component --

16 CHAIR APOSTOLAKIS: But since you took  
17 that course, is it possible to call somebody and find  
18 out? I mean, the others seem to be components, but  
19 this one I don't know.

20 MR. CHU: Yes, I think it's possible.  
21 Yes. This large variation, if you compare this to  
22 say what you see in AP600 or in some PRAs --

23 CHAIR APOSTOLAKIS: Is that million hours?

24 MR. CHU: Yes. Next table is the same.  
25 I want to back up a little. Let me see. Like to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 point out one problem with assuming gamma  
2 distribution. This is based on some recent work by  
3 Hover, Bunere, Cook, some of the people working on the  
4 PRA project, actually. They look into the two-stage  
5 Bayesian analysis, and they recognize the problem with  
6 --

7 CHAIR APOSTOLAKIS: Where are these  
8 people?

9 MR. CHU: Let me see. A few of them are  
10 currently with George Washington University, but I  
11 think they're originally from European countries  
12 working on - maybe German or --

13 CHAIR APOSTOLAKIS: What's that name  
14 again?

15 MR. CHU: Hover.

16 CHAIR APOSTOLAKIS: Oh, I know him, yes.  
17 Okay.

18 MR. CHU: So for gamma distribution, it  
19 can be shown analytically that the likelihood --  
20 function becomes the likelihood of a common incident  
21 rate model when the parameters are large. That means,  
22 the likelihood is not bounded, it goes to -- it  
23 doesn't die as alpha beta goes to infinite. And it's  
24 improper, and it has no maximum, and is esoteric of  
25 the maximum along a ridge. Basically, is asked when

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you work with this kind of problem that you truncate,  
2 whenever you use computer to implement it, you  
3 truncate and you lose information. That would be --

4 CHAIR APOSTOLAKIS: If I use log normal,  
5 don't have any problem.

6 MR. CHU: Right.

7 CHAIR APOSTOLAKIS: Good.

8 MR. CHU: Right. Kind of I want to make  
9 a remark - we've done this kind of analysis so many  
10 years, and all of a sudden we recognize there's a  
11 problem, so there are still things to learn.

12 CHAIR APOSTOLAKIS: Well, the papers by  
13 Hover have been out also for a number of years, but  
14 the question is how many people have read them. But  
15 we're using log normal most of the time, so it's okay.

16 MR. CHU: Right.

17 CHAIR APOSTOLAKIS: Ahh, conclusions.

18 MR. CHU: We developed a process for  
19 estimating generic failure rates.

20 CHAIR APOSTOLAKIS: So you are saying then  
21 that the best we can do it to use PRISM. Is that what  
22 you're saying?

23 MR. CHU: That's the only place I guess in  
24 the raw data.

25 CHAIR APOSTOLAKIS: You didn't get

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 anything from LER?

2 MR. CHU: LER, that's the suggested  
3 additional work, you try to collect more information  
4 from the plant so that you find out how many of the  
5 same equipment are being used at the plants, or how  
6 long they've been operating.

7 CHAIR APOSTOLAKIS: Well, maybe instead of  
8 expecting to get information from LERs that will help  
9 you find failure rates, maybe you can get some idea as  
10 to how better our components are, and then devise a  
11 means of changing the low tail of the distribution you  
12 have developed from PRISM to account for nuclear  
13 environments. Maybe that would be a way to go,  
14 because I don't think these people have the same  
15 quality controls that we have. And probably the low  
16 tail of the distribution should be further to the  
17 left. I don't know. I mean, if you disagree, you  
18 disagree, but I think that's an issue here.

19 MR. HICKEL: That's a very good idea.

20 MR. CHU: We did look into some kind of  
21 regrouping of the data, but I find it hard because  
22 there isn't enough data to do this kind of analysis,  
23 when you do a --

24 MR. HICKEL: You know, I really had a  
25 problem with one of the conclusions, and this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 statement just kind of jogged it into my memory. Your  
2 report on page 21 said that when you searched the LER  
3 database for failures in digital INC systems, you only  
4 got 18 records?

5 MR. CHU: That was probably for a  
6 particular type of component. Maybe we searched for  
7 microprocessor.

8 MR. HICKEL: Right.

9 MR. CHU: I think. That's the case, we  
10 are -- I'm pretty sure that that's the case. Again,  
11 LER doesn't necessarily record all the failures.

12 MR. HICKEL: Right. I fully agree. As a  
13 matter of fact, I would say that most of the plants  
14 that have a device that includes the microprocessor  
15 would report in the LER the name of the system, not  
16 the fact that it was a microprocessor failure. They  
17 report that such and such system failed, and that  
18 would give you a low count. But the other thing is,  
19 I saw the word you searched. You mean you did an  
20 electronic search of the LER database?

21 MR. CHU: Yes.

22 MR. HICKEL: Well, you are aware that on  
23 the NRC LER website, they've got the optical imaging  
24 going back to 1984. I take it you didn't consider  
25 anything that was a paper record that's just been put

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 on as a PDF.

2 MR. CHU: We did the search of the system  
3 being maintained by INEL.

4 MR. HICKEL: Right.

5 MR. CHU: And I think it does go back to  
6 like 1984. That's about right.

7 MR. HICKEL: It does, but you can't  
8 electronically search it, so when I saw the word that  
9 you searched for microprocessor, my immediate reaction  
10 was well, that's interesting. How do you search a PDF  
11 on a file like that? You can't.

12 MR. MARTINEZ-GURIDI: I believe that the  
13 LER search system can be searched electronically. You  
14 can specify a certain string of characters, and it --

15  
16 MR. HICKEL: Yes, but many of the records  
17 going back that old, they're images, they're pictures.

18 MR. MARTINEZ-GURIDI: Not any more. I  
19 mean, that was the case a few years ago, but nowadays,  
20 they have the electronic version to '84 where you can  
21 search electronically.

22 MR. HICKEL: Okay. Because I was going to  
23 tell you, I personally had done a search of LERs  
24 looking for digital systems, and it happened to be in  
25 an area where I knew the names of the plants, I knew

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 roughly when they had changed out, and when they did  
2 it. And I worked at CE a long time ago, about 20-30  
3 years ago. I searched looking for information about  
4 their core protection calculators, and I got about 160  
5 something LERs that all involved that system. There  
6 were failures all over the place, different kind of  
7 combinations and permutations of something in test,  
8 and a guy uploaded a new data set without knowing that  
9 one of the other channels was bypassed. All that  
10 stuff is there. There's MOX failures, there's CPU  
11 failures, all of those, and I think that that LER  
12 database contains failure experience that's a lot more  
13 relevant than what you might find if you're trying to  
14 find out what the Air Force is doing with a missile  
15 tracking computer or something like that.

16 The reason is, it has to do a little bit  
17 with pedigree, and I think George talked about, we  
18 talked about it a little bit. It's the mode that the  
19 equipment is bought, procured, installed,  
20 commissioned, tested, operated with tech specs, and  
21 people that have to do certain periodic tests. This  
22 is not commercial electronics like your laptop at  
23 home. It's a very different variety of stuff, and I  
24 think basically, I think there's a lot more in the LER  
25 data system than you're considering in this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 evaluation.

2 MR. CHU: We've only done some kind of  
3 trial search of the LER. We knew that we will not  
4 have information on how many of the same components  
5 are operating, how long they've been operating, so we  
6 knew we're not going to be able to use it to come up  
7 with some estimates, so what we searched LER was just  
8 some trial search, see what we can find. We didn't  
9 try to use that to do any kind of --

10 CHAIR APOSTOLAKIS: Do you plan to do this  
11 kind of more detailed search?

12 MR. CHU: That's what we're suggesting to  
13 do. The last viewgraph talk about it, but I recognize  
14 the difficulty. Searching LER is one thing, you have  
15 to somehow get information from the plant, that kind  
16 of information.

17 CHAIR APOSTOLAKIS: The last bullet,  
18 really, I mean did you agonize on it a lot before you  
19 put it there? This is a consensus view of the  
20 project, that better data should be collected? Yes,  
21 Louis, go on. Just say yes. Didn't you learn from  
22 Steve? Please identify yourself and speak into the  
23 microphone.

24 MR. STONE: I'm Jeff Stone from  
25 Constellation Energy. I work PRA. What I was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 questioning is you're focusing on operational failure  
2 rates, per hour failure rates. Are you going to  
3 address how we're going to quantify demand failure  
4 probabilities in this document?

5 MR. CHU: Not in this document, because  
6 all we have is those data from the PRISM tool. Like  
7 George pointed out, in some situations the failure  
8 could be demand type of failure, but we don't have  
9 that kind of data.

10 CHAIR APOSTOLAKIS: How important do you  
11 think that is?

12 MR. STONE: I think that's probably much  
13 more significant than the operational failure  
14 probabilities.

15 CHAIR APOSTOLAKIS: He's right.

16 MR. HICKEL: The issue is you've got some  
17 spike where there's a demand, that you need that  
18 equipment to work. And in that period, it had better  
19 be working in that interval, but that's -- if he's got  
20 the hourly failure rate, getting that wouldn't be that  
21 difficult.

22 CHAIR APOSTOLAKIS: Well, that's something  
23 for you guys to consider. I mean, it's okay that you  
24 haven't done it, but it's certainly something that  
25 deserves --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. STONE: Well, I mean, there are two  
2 parts to a demand failure probability. There's a part  
3 that it can fail per hour, or is there some shock  
4 failure probability when it's actually demanded. So  
5 just question that. Thank you.

6 MR. ELKS: Carl Elks, University of  
7 Virginia. Just one final comment I had. In my  
8 experience working with this PRISM database during the  
9 past couple of months, I've done a lot of CIRCA design  
10 of these safety critical systems in the past, and the  
11 components that are actually in the PRISM database are  
12 relatively old. I mean, these are the things that you  
13 would see ten years ago in a design, even longer. I  
14 mean, if you go back and look at that thing where you  
15 see latch counts, comparators and stuff, we don't use  
16 those any more, these FPGAs, and PLDs, and things of  
17 that nature. And I talked with the PRISM people about  
18 this, and I said when are you going to update your  
19 database so that we get more contemporary components,  
20 and they were going well, as soon as we get the data  
21 in. So I don't know if that was your experience or  
22 not, that trying to kind of look at it from the point  
23 of view of actually what's out in the field, and  
24 what's actually in the database, sometimes are not  
25 lined up correctly. And that's it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CHU: Well, I guess Reliability  
2 Analysis Center at least has some means of collecting  
3 data. We didn't even try, but that's what I kind of  
4 suggest you do in this last viewgraph. Try to collect  
5 data from the manufacturer of the equipment for  
6 nuclear plants, I listed some of the names that I'm  
7 aware of. And another thing to do is contact the  
8 plants so that we can --

9 CHAIR APOSTOLAKIS: It seems to me that  
10 both comments really you should add to your future  
11 activities. At least think about, these were both  
12 very useful comments.

13 MR. CHU: Yes.

14 CHAIR APOSTOLAKIS: Okay. That's it?

15 MR. CHU: Yes.

16 CHAIR APOSTOLAKIS: Now you have an  
17 interesting sentence here -- you want to say  
18 something?

19 MR. NGUYEN: Yes. My name is Thuy from  
20 EPRI EDF. In Europe there had been recently a new  
21 directive against the use of lead in soldering, and as  
22 a result, we had seen new failure modes, new hardware  
23 failure modes that due to the new alloys used to  
24 solder the electronic components. Have you heard of  
25 that? That the industry has called the whiskers

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 issue. It's because you have very thin metallic  
2 whiskers growing from the solder of soldering pots  
3 that create short circuits between the legs of the  
4 circuits. And so for us, it's a new kind of hardware  
5 failure. And there also this notion of single event  
6 upsets, which are the fact that now the electronic  
7 circuits are so small, the engraving is so fine that  
8 you can have, for example, a stray neutron, a stray  
9 particle that can create a temporary error in the  
10 circuit, that when you restart the system, everything  
11 works correctly.

12 CHAIR APOSTOLAKIS: It's probably a higher  
13 order problem. Some useful input here.

14 MR. CHU: Yes, thank you for the input.  
15 We don't have -- we are not manufacturers, and we  
16 don't have easy access to the plants, so these are the  
17 limitations, that I suggest that we try to do  
18 something.

19 CHAIR APOSTOLAKIS: On page 28 you have a  
20 sentence that I found interesting. "Failure mode,  
21 specific failure rates are required in the Markov  
22 model. However, no such database exists." Now this  
23 morning we heard that you can get those. I don't give  
24 up, do I? You say "no such database exists."

25 MR. CHU: When I said that, I'm referring

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to the type of analysis that's done using the guidance  
2 of IEC standard, where you develop Markov models, you  
3 talk about fail safe, fail and safe, safe --

4 CHAIR APOSTOLAKIS: Well, that's what we  
5 had this morning, didn't we? There were two states,  
6 fail safe, and fail unsafe?

7 MR. CHU: Right. But how do you estimate

8 -- CHAIR APOSTOLAKIS: And there were  
9 lambdas.

10 MR. CHU: How do you estimate the split,  
11 or how do you estimate the coverage?

12 CHAIR APOSTOLAKIS: Yes. That's my  
13 question, too.

14 MR. CHU: Right. That's the difficulty --

15  
16 CHAIR APOSTOLAKIS: I really think you  
17 guys ought to talk to each other more often, because  
18 these are interesting comments coming from the same  
19 project. And we were told this morning that this will  
20 happen, so it's fine.

21 MR. CHU: Yes. I guess tomorrow we'll  
22 have a meeting.

23 CHAIR APOSTOLAKIS: You will talk  
24 tomorrow?

25 MR. CHU: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIR APOSTOLAKIS: Okay, Louis. What's  
2 next? I see your name again. You name is Gerardo?

3 MR. MARTINEZ-GURIDI: That's right.

4 CHAIR APOSTOLAKIS: It's not Gerardo like  
5 you were introduced. It's Gerardo, right?

6 MR. MARTINEZ-GURIDI: That's right. I can  
7 use both.

8 CHAIR APOSTOLAKIS: Okay. So now we go to  
9 the second report, Review of Software Induced Failure  
10 Experience. Is that correct?

11 MR. MARTINEZ-GURIDI: That's correct.

12 CHAIR APOSTOLAKIS: Very interesting  
13 report, by the way. Now this is here, 30 slides, 31,  
14 geez. You need all of them, Gerardo?

15 MR. MARTINEZ-GURIDI: Yes, we'll go over  
16 it. Hi, my name is Gerardo Martinez. I work for  
17 Brookhaven National Lab. I will be presenting our  
18 review of software failures in different industries.  
19 The outline of the presentation is to present the  
20 general objectives of the project, our approach to  
21 reach these objectives. We also developed a  
22 preliminary model of software failures that we would  
23 like to have feedback from you. Then we'll present a  
24 review of the software-related failures at domestic  
25 nuclear power plants. At that point, Louis Chu will

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 take over to talk about the review of events of  
2 software failures at other industries and foreign  
3 nuclear plants, the scheme for categorizing software  
4 failures, a detailed description of selected events.  
5 And as you know, a lot of this work was motivated by  
6 some ACRS comments, and we will try to address them.  
7 Also, discuss briefly some of the methods available  
8 for assessing the reliability of software, and we  
9 conclude with some conclusions.

10 The main objectives are to get a better  
11 understanding of software failures, to present an  
12 approach for collecting these kinds of failures, and  
13 to try to address ACRS' comments in light of insights  
14 doing this in achieving these two objectives.

15 In general, our approach was to search the  
16 LER search system.

17 CHAIR APOSTOLAKIS: By the way, you have  
18 to be a little careful. Some of these comments were  
19 not ACRS. They were not in a formal letter from the  
20 committee, so when you address the comments, you have  
21 to make the distinction. You understand what I'm  
22 saying? If there is a letter from the committee,  
23 signed by the chairman of the committee, that's the  
24 ACRS position. If you have at the end added comments  
25 by a member, that's the member's comments. You can't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 call them ACRS comments, because other members may  
2 disagree.

3 MR. MARTINEZ-GURIDI: All right.

4 CHAIR APOSTOLAKIS: I know this is new to  
5 you, but the record will have to be careful, I think.

6 MR. MARTINEZ-GURIDI: Okay. I suspected  
7 that, but thank you for the clarification.

8 CHAIR APOSTOLAKIS: Okay.

9 MR. MARTINEZ-GURIDI: We also did a search  
10 for events in other industries, and we developed the  
11 model I mentioned.

12 CHAIR APOSTOLAKIS: These other  
13 industries, everybody keeps saying we look at other  
14 industries and learned something. Have we ever  
15 learned anything from any other industry? We never  
16 learn anything.

17 MR. MARTINEZ-GURIDI: Well, one thing that  
18 --

19 CHAIR APOSTOLAKIS: Is that true? Did you  
20 learn anything besides they don't know?

21 MR. ARNDT: We learned that they have  
22 different approaches.

23 CHAIR APOSTOLAKIS: Yes.

24 MR. ARNDT: Frequently what we learn is  
25 that they've looked at things, and they decided it's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 too hard, and they're going back to simpler models.  
2 Frequently what we've learned, and we'll talk a little  
3 bit about this particular study, is that for detailed  
4 models you need detailed analysis. So we've learned  
5 some new things, but mostly we validated things.

6 MR. MARTINEZ-GURIDI: If I jump ahead of  
7 myself a little bit --

8 CHAIR APOSTOLAKIS: Please, do.

9 MR. MARTINEZ-GURIDI: Something that we'll  
10 learn from looking at failure events at other  
11 industries is that software failures can lead to  
12 really catastrophic outcomes.

13 CHAIR APOSTOLAKIS: Oh, yes. Sure. But  
14 again, you have to be careful about --

15 MR. MARTINEZ-GURIDI: And the kinds of  
16 failure modes that happen in other industries are  
17 totally applicable to the nuclear industry, as well,  
18 so in that sense --

19 CHAIR APOSTOLAKIS: That's a good point,  
20 Gerardo. That's a good point.

21 MR. MARTINEZ-GURIDI: Yes.

22 CHAIR APOSTOLAKIS: So let's go to the  
23 meat of this.

24 MR. MARTINEZ-GURIDI: Okay. We developed  
25 this preliminary model of software failures to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 understand better the causes of these failures, and to  
2 understand how they propagate in a complex system.  
3 The main objectives were to understand these failures,  
4 and to establish a basis for eventually developing a  
5 model to quantitatively assess the probability of  
6 software failure. And at the very top we classify the  
7 causes of internal and external, and I will go into  
8 that a little bit as we move on.

9 Software failure there can be propagated  
10 to the debate, to the devices controlled by the  
11 software directly, such as the valves, for example, as  
12 it was mentioned this morning, to the entire system in  
13 which the software is embedded, and to the overall  
14 plant, or overall complex system. The propagation of  
15 the failure will depend on several factors, such as  
16 the overall context, the overall state of the plant at  
17 the time of the software failure, and the tolerance to  
18 the software failure of the software, the devices, the  
19 system, and the plant.

20 CHAIR APOSTOLAKIS: And that's where,  
21 again, I believe the classification we have requested  
22 of applications would be very useful. One of the ACRS  
23 comments has been please develop a classification of  
24 various applications, actuation systems, feedback and  
25 control. Like you have some in passing in your

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 report, real time digital, non-real time digital  
2 system, communication failure, so all this stuff that  
3 would be nice to have seen. Okay.

4 MR. MARTINEZ-GURIDI: Yes. Well, to  
5 mention something about that, that's a task that we  
6 don't currently have at the lab, as far as I know. So  
7 I am aware that is something is relevant to our  
8 project, and that --

9 CHAIR APOSTOLAKIS: I think it is, because  
10 you're classifying failures. It would be nice for us  
11 to know which particular systems are subjected to  
12 certain kinds of failures.

13 MR. MARTINEZ-GURIDI: Absolutely.

14 CHAIR APOSTOLAKIS: Okay.

15 MR. MARTINEZ-GURIDI: Okay. Something  
16 that I think is also very relevant is that the  
17 potential for dependent failures, common cause  
18 failures are also very -- is a relevant issue for  
19 software-driven systems because the redundant trains  
20 or channels of a system may use the same or similar  
21 software. In general, many times they use exactly the  
22 same software. And, therefore, if that is the case,  
23 then the failure of the software means that all the  
24 trains in that system will fail, failing the entire  
25 system. So if these dependent or common cause failure

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 occurs, then it may cause a failure of all the  
2 devices, or the entire system. And this is something  
3 that has been observed both in the nuclear industry,  
4 as well as in other industries.

5 This is our overall model. What we have  
6 at the top is the development of the software, the  
7 stages in which software is developed, starting from  
8 the system engineering and modeling task, which you  
9 define what the software is going to be doing, and how  
10 it's going to interact with the surrounding system and  
11 the surrounding plant. Then you go to a phase of  
12 requirements analysis, in which you establish in a  
13 more formal way what the software is supposed to  
14 accomplish. Then you start in the design phase to  
15 turn those ideas into an architecture of the software.  
16 Then you move in to generate the actual code. Then  
17 once the code is generated, of course, these are very  
18 broad steps, and this is simplified model. This is  
19 certainly more involved. Then there is some testing  
20 of the software, and eventually it's brought into  
21 operation and maintenance, and that's --

22 CHAIR APOSTOLAKIS: Our regulatory review  
23 right now is really focused on the top five. Right?

24 MR. KEMPER: Yes, that's true.

25 CHAIR APOSTOLAKIS: And we are trying to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 bring the lower part back to inform, or to expand the  
2 review. Right? We are really focusing a lot on the  
3 five boxes you have up there.

4 MR. KEMPER: As far as process for  
5 licensing review and licensing - oh, yes. Absolutely.  
6 Yes, the top five are the only areas that we can  
7 concentrate for a new application, obviously.

8 CHAIR APOSTOLAKIS: Right.

9 MR. KEMPER: Because all the rest of it is  
10 subsequent to that.

11 CHAIR APOSTOLAKIS: Yes.

12 MR. HICKEL: But when the equipment is in  
13 operation, isn't it true that that box, that next  
14 lowest level, O&M, isn't that historically where there  
15 have been most of the failures related to the  
16 software, and the constants, and all that?

17 MR. KEMPER: That's been my experience,  
18 yes.

19 CHAIR APOSTOLAKIS: But when we're  
20 licensing, we look at the top five.

21 MR. HICKEL: Yes, but you're all supposed  
22 to be looking in the license at the processes and  
23 controls that are going to be used once they get it in  
24 the field.

25 CHAIR APOSTOLAKIS: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. HICKEL: Because that's where there's  
2 less control, in those boxes on the top.

3 MR. KEMPER: Right. That's a  
4 configuration management plan or something along that  
5 --

6 CHAIR APOSTOLAKIS: Okay.

7 MR. MARTINEZ-GURIDI: So all these stages  
8 are usually known as the software life cycle, and it's  
9 often interesting to know, that you may already be  
10 aware, is that errors made at earlier stages in the  
11 development are just going to propagate into later  
12 stages, as you know, and compound with errors that may  
13 be made at subsequent stages. And once the software  
14 comes into operation and maintenance, there may be  
15 some faults there which may not necessarily be  
16 manifested, latent faults in the software, and that's  
17 what we call internal faults, or that's what we call  
18 internal causes. These eventually can be triggered  
19 and actually occur into a software failure, which is  
20 the next box down, the failure of the software, which  
21 would include the common cause failure, as I was  
22 mentioning before.

23 The failure of the software also can be  
24 due to external causes, which is the box on the right,  
25 which we categorize into four main types, which would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 be one human error, you know, somebody who operates  
2 the software in an incorrect way, failure of support  
3 systems, such as the hardware in which it runs, the  
4 power supplies, HVAC or any other support system that  
5 the software requires.

6 CHAIR APOSTOLAKIS: So is it correct to  
7 say that the dynamic methods we've heard this morning  
8 deal with the four vertical boxes, failure of software  
9 all the way down to maybe status of the complex  
10 system, but they don't deal with the external causes,  
11 at least in the present case.

12 MR. MARTINEZ-GURIDI: I would like them to  
13 answer.

14 MR. ARNDT: They don't explicitly deal  
15 with external causes. As related to what the  
16 operational profile is, the likelihood of having a  
17 input that is unexpected by design, it does look at  
18 that, in terms of --

19 CHAIR APOSTOLAKIS: But not human error.

20 MR. ARNDT: But not human error or things  
21 like that.

22 CHAIR APOSTOLAKIS: Whatever, high  
23 humidity.

24 MR. ARNDT: Right. That's not explicitly  
25 --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ALDEMIR: Tunc Aldemir, Ohio State.  
2 We don't deal with external causes in the sense of  
3 human error, cyber security, external events, but  
4 supporting systems, there is interconnection between  
5 the system we are dealing with and the rest of the  
6 system. That's what happens when, for example, you  
7 hook it up with PRA, the whole PRA. So not  
8 intentionally, but partially covered.

9 CHAIR APOSTOLAKIS: Okay. Very good.  
10 Thank you.

11 MR. MARTINEZ-GURIDI: And then if we could  
12 move down in this diagram, what we tried to depict,  
13 again in a simplified way, is how a software failure  
14 is going to propagate with the possibility of creating  
15 a major accident. So from failure of the software  
16 that you could potentially have, a failure of the  
17 devices controlled by the software, then the failure  
18 of the entire system containing the software, and then  
19 that could propagate to have some impact on the plant.  
20 And then you could have some recovery. Of course,  
21 recovery can be applied at any of these stages of  
22 propagation. You can have recovery at the software  
23 level, you can have recovery at the device level, you  
24 can recovery at the system level, you can recovery at  
25 the plant level. And then if the recovery finally

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 fails, then, of course, you may have an accident,  
2 otherwise will be avoided.

3 All of these propagation will also depend  
4 on the overall context of the plant, the overall state  
5 of the plant at which this happens. If the failure of  
6 the software happens to happen when there is some  
7 unavailability for equipment, then the propagation  
8 will be more likely, or more severe. And, of course,  
9 these boxes at the bottom is basically operating  
10 environment of the software.

11 So, to summarize, we see that the software  
12 - we proposed that the software can be analyzed in  
13 terms of these two main types of causes, internal  
14 causes resulting from the development of the software,  
15 and the external causes, which is the environment of  
16 the software. And also, the propagation depending on  
17 the overall context. And we also acknowledge that the  
18 specific context that is relevant for the software is  
19 the so-called error forcing context that has been  
20 proposed as a triggering mechanism for the failure of  
21 software.

22 CHAIR APOSTOLAKIS: I think the dynamic  
23 methods we talked about earlier, and the same, I  
24 think, idea applies. As I tried to explain what  
25 lambda might mean, it's really the occurrence of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 error forcing context, which may trigger the  
2 manifestation of a design flaw some place, so it's  
3 time-related. Please.

4 MR. MARTINEZ-GURIDI: Okay. Now I will  
5 move on to the actual review of software failures at  
6 domestic plants. We did this review to identify and  
7 gain insights into the nature of these failures in  
8 terms of characteristics, such as the specific causes  
9 of failures, the associated error forcing context, and  
10 to identify any dependent failure, such as common  
11 cause failures.

12 Our approach was to identify these  
13 failures by using the licensee event report search  
14 system. We searched for basically the entire period  
15 available, which is from '84 to the end of last year.  
16 All plants, all modes of operation, and what we did  
17 was to search for the key word "software" in the  
18 abstract of the LER. This, of course, leads to  
19 somewhat incomplete set, because it's possible that we  
20 missed some LERs, but our objective was not to create  
21 a complete database, but just to get a sample of the  
22 most significant, hopefully, the most significant  
23 events that have happened in the industry.

24 The search was complemented with six  
25 additional events from NUREG CR 67.34, which is a new

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reg that this was specifically written to address,  
2 failures in requirement specification, and they  
3 identify some additional events. Some of the ones  
4 identified in that NUREG we already identified with  
5 LER, but there were six additional that we had not  
6 identified. And we were aware of an additional event,  
7 which was an interesting event, that we also added.

8 CHAIR APOSTOLAKIS: So why weren't these  
9 events in the database? I mean, you say you searched  
10 the LERs.

11 MR. MARTINEZ-GURIDI: Yes.

12 CHAIR APOSTOLAKIS: Yet six events are in  
13 the NUREG report, and also were aware of one. How  
14 come it's not in the database?

15 MR. MARTINEZ-GURIDI: You mean how come it  
16 was not identified?

17 CHAIR APOSTOLAKIS: I mean, the additional  
18 event that you guys were aware of. How comes it was  
19 not there?

20 MR. MARTINEZ-GURIDI: Well, it was in the  
21 LER search database, but because we only looked for  
22 the key word "software" in the asterisk --

23 CHAIR APOSTOLAKIS: Oh.

24 MR. MARTINEZ-GURIDI: So it is possible  
25 that there are some additional LERs that have the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 software -- maybe, for example, one possibility is  
2 that they didn't use the word software. The people  
3 who wrote the LER might have used computer code  
4 instead of the word "software".

5 CHAIR APOSTOLAKIS: Well, why didn't you  
6 use computer code as a key word?

7 MR. MARTINEZ-GURIDI: Well, the problem is  
8 that there are many possible words that can be used,  
9 so if we use all those we would end up with a very  
10 large number of LERs. And we didn't have the  
11 resources to go over those --

12 CHAIR APOSTOLAKIS: So on the one hand we  
13 complain we don't have sufficient data, and on the  
14 other hand you say -- that's okay. Keep going. Now  
15 you tell me when to stop for a break. You decide what  
16 is a logical place to do this.

17 MR. MARTINEZ-GURIDI: I think that will be  
18 when I finish this, before Louis takes over.

19 CHAIR APOSTOLAKIS: Is that within a  
20 reasonable amount of time? You're talking about five  
21 minutes or so?

22 MR. MARTINEZ-GURIDI: I can stop at any  
23 time, of course.

24 CHAIR APOSTOLAKIS: You can stop any time?

25 MR. MARTINEZ-GURIDI: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIR APOSTOLAKIS: Okay. So it's up to  
2 me, then. Okay.

3 MR. MARTINEZ-GURIDI: Okay. Shall I  
4 continue?

5 CHAIR APOSTOLAKIS: Yes, please.

6 MR. MARTINEZ-GURIDI: So using this  
7 process, each LER that was identified using the search  
8 was reviewed individually. And those LERs that  
9 actually documented a software failure were selected  
10 in the database, so we ended up with 113 LERs that  
11 documented some sort of software failure. And these  
12 database we characterize these failure events in terms  
13 of basically some basics, such as the unit that was  
14 involved and so on, but more importantly, we provide  
15 a brief description of the software failure, its main  
16 causes, its consequences, the error forcing context  
17 and whether it was an independent failure.

18 Some means, as we learned, was that 71  
19 different nuclear units have at least one event  
20 related to software failure during the period that we  
21 studied, so software failures have occurred in a  
22 significant number of units. And as a conclusion, we  
23 see that it's quite likely that any plant that uses  
24 software supported systems could experience a software  
25 failure.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Out of those 113 LERs, there were 17 that  
2 documented two units, so the software failure was  
3 applicable not to a single unit, but two units, so  
4 overall we found 130 software failures.

5           Then I searched the last 10 years of the  
6 software failures we identified, which is comprised of  
7 45 LERs, to try to classify them in terms of what was  
8 the software failure mode, and the cause of the  
9 failure. And what we found was that in 69 percent of  
10 the cases, the software failed with a failure mode, it  
11 runs but it generates a run results which are not  
12 necessarily evident.

13           CHAIR APOSTOLAKIS: So this is the fail  
14 unsafe mode that we were talking about earlier?

15           MR. MARTINEZ-GURIDI: I would say this is  
16 certainly --

17           CHAIR APOSTOLAKIS: I mean, this is the --  
18 the guy from Virginia, Carl. This is one minus your  
19 coverage.

20           MR. ELKS: Yes, this would have to be  
21 definitely --

22           CHAIR APOSTOLAKIS: Yes, one minus the  
23 coverage.

24           MR. ELKS: You have to put this in the  
25 system. Error detection mechanism didn't --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIR APOSTOLAKIS: No, no. You have to  
2 come here. I'm sorry. Repeat everything you said  
3 since this morning.

4 MR. ELKS: Okay. (Laughing.) It won't  
5 take long. In the context of our definition of  
6 coverage, which we stated this morning, this would be  
7 an uncovered fault. Exactly.

8 CHAIR APOSTOLAKIS: That's a pretty high  
9 number, isn't it?

10 MR. ELKS: Yes, 31 out of 45 events. We  
11 don't know what the total operational time that these  
12 things, 20, 30, 40 years, maybe hundreds of years of  
13 operational time. Ten years, okay. So it's a fairly  
14 high number out of an event, I would say.

15 MR. MARTINEZ-GURIDI: Well, something that  
16 I think is very important to take into account is that  
17 these failures cover everything, both safety-related  
18 and non-safety-related systems. And possibly most of  
19 the failures occur --

20 CHAIR APOSTOLAKIS: Well, your  
21 classification is important.

22 MR. MARTINEZ-GURIDI: We'll be happy to  
23 take it up for you at Brookhaven. My impression is  
24 that most of the failures occur in non-safety-related  
25 systems, that may not even have any fault tolerant

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 features, may not have coverage at all, or may have a  
2 very low level of coverage.

3 CHAIR APOSTOLAKIS: But, Gerardo, then I  
4 would expect you to put a couple of sentences to that  
5 effect in the report, because I don't see that  
6 anywhere. And all I see is 31 out of 45, and that's  
7 kind of --

8 MR. MARTINEZ-GURIDI: In the report it is  
9 mentioned that we believe that most of the failures  
10 are in non-safety-related systems.

11 CHAIR APOSTOLAKIS: But that's somewhere  
12 else. It's not where it should be.

13 MR. MARTINEZ-GURIDI: You mean --

14 CHAIR APOSTOLAKIS: I'm sure in a report  
15 of this size it's somewhere, but when I look at the  
16 heart of it, conclusion C.1, you're saying "69 percent  
17 had the failure mode runs with wrong results that are  
18 not evident", and there you don't say anything else.  
19 That's pretty scary. You should put these qualifiers  
20 there, because a lot of people look at the actual  
21 conclusions.

22 MR. MARTINEZ-GURIDI: Thank you for your  
23 comment.

24 CHAIR APOSTOLAKIS: You are very welcome.  
25 Okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. MARTINEZ-GURIDI: Well, another point  
2 is that we think it is maybe a reason for concern to  
3 have software that is running, we run this stuff  
4 sometimes for pretty long periods of time, and just  
5 generating incorrect results.

6 CHAIR APOSTOLAKIS: I'm sorry. You say  
7 that later. It is later in the report.

8 MR. MARTINEZ-GURIDI: Yes, it is there.

9 CHAIR APOSTOLAKIS: Okay. We're going to  
10 go to the causes of failure, the main cause was  
11 software requirements analysis with 16 hits, about 36  
12 percent. As you may already know, the software fails  
13 to do its function because it was not designed to  
14 perform that function.

15 Another perhaps more surprising result is  
16 that operation and maintenance also had a pretty high  
17 percentage of failures with 27 percent, and these were  
18 events that were -- these were problems, issues  
19 introduced while the software was brought operational  
20 into the field, and then somebody somehow made some -  
21 perhaps with the best intention did some upgrade  
22 thinking that they were going to improve the system,  
23 and it turned out that perhaps they improved what they  
24 were trying to improve, but the software failed for  
25 other reason.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1           In many cases we were able to identify the  
2 error forcing context. However, in some cases,  
3 perhaps all again due to the fact that systems are  
4 non-safety related, the software didn't really perform  
5 its function from the start of its operational life.  
6 And it may remain hidden for a long time, perhaps  
7 several years. And also, what we saw from the  
8 operational experience is that the failure may be  
9 discovered by indirect means, such as somebody perhaps  
10 noticed some problem somewhere else, did some  
11 calculation, and in the process of troubleshooting,  
12 they found out that there was a problem, and  
13 eventually traced it down to software.

14           In a fairly large percentage also, about  
15 26 percent, there was some type of dependent failure,  
16 including common cause failure. And additional 13  
17 LERs potentially also involve dependent failures. We  
18 are not sure because we couldn't -- the LER didn't  
19 have enough information to find out whether that was  
20 actually -- 25 positively where there was actually a  
21 dependent failure. So it was clear that the potential  
22 of software failures to cause dependent failures is  
23 the most rated, and that since dependent failures can  
24 be a significant to risk, then software failures also  
25 have the potential to be a significant contributor.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I think I can stop at this time, if you  
2 think it's --

3 CHAIR APOSTOLAKIS: Thank you.

4 MR. MARTINEZ-GURIDI: Thank you.

5 CHAIR APOSTOLAKIS: We'll reconvene at  
6 2:55.

7 (Whereupon, the proceedings went off the  
8 record at 2:39:45 p.m. and went back on the record at  
9 2:59:36 p.m.)

10 CHAIR APOSTOLAKIS: Take your positions.  
11 Okay, Louis. Tell us what is going on here.

12 MR. CHU: Okay. I'll continue the  
13 presentation. I'll start with review of events in  
14 other industries and foreign nuclear power plants.  
15 Summarize how we search for events, internet search is  
16 the most important part of our method for identifying  
17 software-induced failures, and I provided some example  
18 websites containing descriptions of events, or  
19 references to details of the events. Just like other  
20 internet searches, they tend to -- one thing lead to  
21 another. You identify one -- you look up one event,  
22 and then at the same time, you find ten other events,  
23 so kind of the number of events you can find grows  
24 quickly. But you find from different sources there's  
25 significant overlap, also.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           We used our judgment to pick certain  
2 events that we feel that are interesting, and we did  
3 some more detailed analysis. The aviation accident is  
4 an area where we did more thorough search; that is,  
5 the NTSB Aviation Accident Database was reviewed to  
6 identify software-related failures. We also looked at  
7 NASA website, which provide description of NASA  
8 missions, and some of the missions involve failures,  
9 and software failure was the cause.

10           In searching the internet, of course, we  
11 come across many news media, newspapers, magazines,  
12 and university websites. And information about the  
13 events, the level of detail varies a lot. In some  
14 cases, it could be two sentences in the form of an  
15 email, and then you search more for it, you cannot  
16 find anything. In some cases, there are more detailed  
17 official reports. These are basically how we search  
18 for events in other industries.

19           In terms of foreign nuclear experience, we  
20 basically make use of this NEA report that provides  
21 descriptions of some digital-related failures.  
22 COMPSIS is a database that's being developed, and  
23 currently my understanding is that they are still  
24 developing guidelines and database structures. From  
25 that international operating experience on digital

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 systems will be collected.

2 CHAIR APOSTOLAKIS: Several years ago  
3 there was an international corporation that was  
4 established to look at common cause failures for  
5 hardware, which apparently did very well. Is there  
6 any thought to have something like this on digital  
7 software?

8 MR. ARNDT: The common cause database is  
9 sponsored by the same organization that is sponsoring  
10 the COMPSIS database program, so there is some  
11 interplay between the people who are working on both  
12 the data structures for COMPSIS, as well as the data  
13 associated with that. They're both OECD.

14 CHAIR APOSTOLAKIS: But we are  
15 participating in this COMPSIS.

16 MR. KEMPER: Yes, definitely. In fact,  
17 I'm filling in for the project manager, who just got  
18 promoted, right now. Went to a meeting just a couple  
19 of months ago in Korea, and we talked about this. And  
20 Louis is right, we're right in the middle of  
21 developing guidelines, coding guidelines and the user  
22 interface at this point, which will ultimately be  
23 available to everybody in the agency, hopefully, from  
24 a data acquisition point of view. But there's about  
25 17 international regulators and research organizations

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 participating in that right now.

2 CHAIR APOSTOLAKIS: Is the industry  
3 participating in any of this?

4 MR. KEMPER: Not at this time. We're  
5 still kind of kicking around ideas about participation  
6 and accessibility of the data. Right now, it's kind  
7 of protected, because a lot of -- some organizations  
8 across the world, they just don't want to share the  
9 failure data within their country, unless there's a  
10 reciprocity type of arrangement. But it's going to  
11 focus primarily on nuclear installed devices, that's  
12 the idea with COMPSIS.

13 MR. CHU: A little bit about screening of  
14 the events. Basically, in our search, we found a huge  
15 number of software-related failures, and we used  
16 judgment to pick some events that we think are  
17 interesting. Many of the events selected just based  
18 on their severity, the consequence of the failure.  
19 Some events were selected because they represent  
20 interesting failure modes, the failures associated  
21 with communication, or cyber security-related events.  
22 Some events were selected, such that we covered some  
23 specific industries.

24 In the end, we analyzed 48 events in 10  
25 different industries. For each of these events,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 basically we tried to get detailed description of the  
2 event, and write up a description. And then we tried  
3 to categorize the failure modes of the software  
4 failures, and failure causes, failure consequences of  
5 these events, that as we develop, get a duration  
6 scheme for software failure mode and failure causes.

7 In addition, we tried to identify the  
8 sequence of events that trigger the software failure.  
9 In some cases, the precise sequence of events can be  
10 identified, in other cases it's just not clear, but  
11 it's obvious software error was involved.

12 I'll talk a little bit about how we  
13 categorize software failure events based on failure  
14 mode and failure causes. In general, it is hard to  
15 define, to narrow software failure modes, because  
16 failure modes may depend on the function of the  
17 software, and also depends on the level of detail at  
18 which you are talking about software failure. So in  
19 addition to reviewing software-induced events, we also  
20 did a literature review of software FMEAs, and see how  
21 other people define software failure modes, or if they  
22 do causes, and try to make sure the failure modes and  
23 failure causes that we have covers all those that  
24 others have identified.

25 Often in our review, we've often found

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that the terms, the definition of failure causes,  
2 failure modes, and failure effect can be easily mixed  
3 up; that is, one failure cause may be the failure mode  
4 of some other study. A possible reason has to do with  
5 the level of detail. In a way, low level failure mode  
6 could be the trigger cause of a higher level.

7 By reviewing the events, and reviewing the  
8 literature, we came up with our way of categorizing  
9 the events. This table shows the high level failure  
10 modes we have defined. Essentially, we tried to  
11 define the modes in terms of the behavior of the  
12 software. And think of software could be a  
13 complicated system, consisting of elements, and then  
14 the elements can further be broken down into sub-  
15 elements, sub-elements can further be broken down, so  
16 based on that kind of thought.

17 MEMBER BONACA: I have a question  
18 regarding -- I mean, clearly, digital software in  
19 nuclear applications has specific requirements, and  
20 there are software requirements that are very specific  
21 in so far as verification, validation, and so on and  
22 so forth. To what levels do these kind of standards  
23 apply to the other databases that you looked at?

24 MR. CHU: I'm not sure I understand the  
25 question. Could you elaborate on that?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER BONACA: I'm saying in nuclear  
2 applications, software is subjected to specific  
3 requirements, which include verification, validation,  
4 testing, independent verification, a lot of steps to  
5 assure the quality of the software that's being  
6 implemented, and I'm just wondering about the other  
7 software that you looked at; are they subjected to  
8 similar requirements?

9                   MR. CHU: We didn't specifically look into  
10 the specific requirement of other industries. I  
11 imagine there's a lot of variations in the industry,  
12 or in the military, aerospace, because more safety-  
13 critical systems are there. There might be more  
14 stringent requirement, but in our look, we didn't. We  
15 just looked at how failure occurred, and tried to  
16 categorize based on what happened.

17                   MEMBER BONACA: Okay. So you don't have  
18 a sense of what the requirements may be. They may  
19 vary significantly from one application to another.

20                   MR. CHU: Right.

21                   MEMBER BONACA: All right.

22                   MR. CHU: Okay. In this table at the high  
23 level, the left column, basically we call it system  
24 level failure mode. It's defined based on whether or  
25 not the software stopped running, and whether or not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 software failure occurred with a clear indication, so  
2 this relates to whether or not you can observe the  
3 failure, whether or not you're aware that failure  
4 occurred.

5 At the element level, we defined five  
6 software elements. They are kind of based on the  
7 function of the elements, input, output,  
8 communication, resource allocation, and processing.  
9 And for each of these elements, we have element-  
10 specific failure modes that are shown on the next  
11 viewgraph. And this viewgraph shows generic failure  
12 modes that are generically applicable to all the  
13 software elements.

14 This graph shows the element-specific  
15 failure modes. For example, communication failure  
16 mode could be failed interaction in sub-routine calls  
17 or in data communications. Resource allocation could  
18 be competing for resources, priority errors. Software  
19 failure causes, similarly we define software failure  
20 causes. For internal causes, we basically relate  
21 those causes to stages in the software life cycle.  
22 Essentially, faults were introduced and not detected  
23 during the development process, so they are due to  
24 errors in the development stages. And for each event,  
25 we tried to identify possible stages in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 development of software where error was introduced.  
2 And these software faults are introduced during the  
3 development stages, and that is the quality of the  
4 software depends on how good a job you've done in  
5 developing it in each stage of the life cycle.  
6 Therefore, somehow, if we want to develop some  
7 quantitative software reliability model, we are going  
8 to make use of this kind of information, how good a  
9 job have you done in developing the software. So this  
10 kind of failure cause categorization can potentially  
11 help with that kind of work. This is just some high  
12 level failure causes. In our report, we have more  
13 detailed examples for each category of failure causes.

14           Some insights, review of software-induced  
15 failures in other industries. In general, events that  
16 took place in other industries, that ones that we  
17 analyzed in detail, tend to be more exciting, or have  
18 much more serious consequence, because you're getting  
19 events from a wider source from many other industries.  
20 And, in general, I would say the same type of failure  
21 could happen in the nuclear industry. Of course,  
22 keeping in mind that nuclear industry, the safety-  
23 related system, there might be better -- but in terms  
24 of say developing model, that kind of factor can be  
25 taken into consideration.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Some insights - incorrect implementation  
2           and omission of function are important failure modes.  
3           Error due to requirement analysis stage are the most  
4           important failure causes. The occurrence of error  
5           forcing context triggering a software failure is a  
6           reasonable way of considering software failures; that  
7           is, the software failure rate effectively is the rate  
8           at which the error forcing context occurred.

9           In some software failure events, we  
10          recognize that the failure occurs at the very low  
11          level. In one case, a bit stuck at one or zero  
12          trigger a sequence event causing a pretty serious  
13          accident. And so the implication is that in order to  
14          capture this kind of problem, you need to develop a  
15          pretty detailed level of model.

16          Some software failures involve softwares  
17          that are not application softwares. The operating  
18          system, the diagnostic software, communication  
19          software, so to capture this kind -- to identify this  
20          type of software faults or failures is quite  
21          difficult. And in quite a few instances we did find  
22          software common cause failures, the fact that  
23          identical hardware used identical software.  
24          Man/machine interface is a contributor to some of the  
25          events.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I have some description, a reasonably  
2 detailed description of four events, but they are  
3 pretty detailed. I hope that I don't need to explain  
4 them, every one in detail, because it's going to be  
5 pretty time consuming. But these four events all took  
6 place at nuclear power plants. The first three  
7 occurred in domestic plants, the fourth one occurs in  
8 Bill's Canadian plant. And they all involved software  
9 failures. For the three events at domestic plants,  
10 they all involve software associated with redundant  
11 equipment, like diesel generator sequencers, core  
12 power calculators, and regulating voltage regulating  
13 transformers. They all have identical hardware  
14 running identical software, so in principle, common  
15 cause failure could lead to failure of redundant  
16 equipment.

17 Maybe I'll try to explain each of these  
18 events quickly. Turkey Point diesel generator  
19 sequencer - it was during a test that they found that  
20 there's a software logic error, such that high  
21 pressure injection pump wouldn't start. This was  
22 discovered during a test. But my understanding is,  
23 before this was discovered, earlier there was another  
24 LER reporting pump failed to start event. And at that  
25 time, they couldn't tell what was the reason the pump

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 failed to start. And when they recognized this  
2 problem, they went back and identified that this was  
3 the cause of that earlier event, so this is  
4 interesting.

5 Another thing is, again, my understanding  
6 is that it seemed to say it can happen only when you  
7 are testing, but if you look at that earlier event, it  
8 was actually a real signal. There is a real actuation  
9 signal, and the system failed, or the pump failed to  
10 start, so this issue might happen with reasonable and  
11 high likelihood. Of course, problem - you discover  
12 the problem and the bug is removed, and it's no longer  
13 a problem.

14 CHAIR APOSTOLAKIS: Let's go back. You  
15 say the error forcing context is the test?

16 MR. CHU: During test - okay, the error --

17

18 CHAIR APOSTOLAKIS: That's when they found  
19 it. But the first bullet under consequences says that  
20 even if it was a real event, you would not have  
21 responded properly to an SI signal, and units 3 and 4  
22 were operating outside their design basis.

23 MR. MARTINEZ-GURIDI: What happens is the  
24 sequencer can operate in different operational modes,  
25 and there was some kind of switching where you can

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 select which operational mode. And usually, it was  
2 selected to be in an automatic test mode, so in a way  
3 the sequencer was always in this automatic test mode.  
4 So should a real signal come, it will most likely find  
5 it in a test mode, and, therefore, it will fail to  
6 actuate. That's actually what happened in the  
7 previous LER that he was describing, that's exactly  
8 what happened. And they couldn't find out -- they  
9 didn't realize there was this connection of events.  
10 But then with the second event, they realized that  
11 every time the sequencer was in some kind of test  
12 operational mode, it will have this vulnerability,  
13 that it will not respond to a real signal.

14 MR. HICKEL: Was the fault unique to a  
15 software system, or was it unique to the function that  
16 was being implemented?

17 MR. MARTINEZ-GURIDI: Well, it was  
18 certainly a software problem.

19 MR. HICKEL: If I took the same function  
20 and implemented it using a bunch of AGOSTAT relays, if  
21 I could find them on eBay or something like that, I  
22 would not have this problem, it was unique to  
23 software?

24 MR. MARTINEZ-GURIDI: My understanding is  
25 that it was unique to software. The thing is that I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 cannot give you a positive answer, because this kind  
2 of detailed information, in most cases, was not in the  
3 LER itself, so we didn't know, have all the details to  
4 tell. But it was clearly stated that the problem was  
5 in the software.

6 MR. CHU: This is an example, we're  
7 limited to the information that's available in the  
8 LER. In some cases, you find some description of the  
9 event. They identify some failure, and then they said  
10 they sent the circuit board to the manufacturer for  
11 diagnosing it, and then we don't know what happened,  
12 so there are technical situation, too.

13 CHAIR APOSTOLAKIS: So, Gerardo, you say  
14 the problem was that the sequencer was continually on  
15 --

16 MR. MARTINEZ-GURIDI: On a test mode.

17 CHAIR APOSTOLAKIS: Test mode. And who  
18 did that?

19 MR. MARTINEZ-GURIDI: The plant decided to  
20 put it in that mode.

21 CHAIR APOSTOLAKIS: So is it because they  
22 did not understand what that meant, or it was just a  
23 slip? Because that's really, it seems to me, the  
24 error forcing context.

25 MR. HICKEL: That's right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIR APOSTOLAKIS: Right?

2 MR. HICKEL: Yes.

3 CHAIR APOSTOLAKIS: Not that the sequencer  
4 is executing the test, is that somebody put it in that  
5 automatic loop where it was self-testing all the time.

6 MR. MARTINEZ-GURIDI: But it was not an  
7 error. It's possible that the plant believed that put  
8 it in this operational mode was the safest way to have  
9 it, so it would be operational - continually being  
10 tested.

11 CHAIR APOSTOLAKIS: So the error forcing  
12 context then was not understanding what it meant to  
13 have it in that mode. That's the error forcing  
14 context.

15 MR. MARTINEZ-GURIDI: But, perhaps, that  
16 was the mode in which the sequencer should be.

17 CHAIR APOSTOLAKIS: Then there was a  
18 design error.

19 MR. HICKEL: I was going to say, it's hard  
20 to believe that somebody delivered a sequencer, and  
21 they didn't run a test to see that it sequenced the  
22 loads on the diesel at least once. So this has to be  
23 a mode where it was not the normal standby mode of  
24 operation.

25 CHAIR APOSTOLAKIS: But the reason why I'm

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 bringing that up is because it's important to  
2 understand what the error forcing context is.

3 MR. MARTINEZ-GURIDI: Yes.

4 CHAIR APOSTOLAKIS: You really have to  
5 look for the context that creates this error, so  
6 either they didn't understand it, and that's the  
7 error, or there was a design error. I don't know.  
8 And if they were advised to do this, then whoever  
9 advised them did not have all the information as to  
10 the behavior of this. You have to look a little more  
11 deeply into what is the context within which the  
12 software does something wrong.

13 MR. CHU: The next event is an actual  
14 common cause failure that took place at Pilgrim. It  
15 involved loss of multiple vital AC buses. That  
16 happens during a storm, such that there is power  
17 transient, a voltage transient. Their regulating  
18 transformer was designed to regulate the input voltage  
19 within 20 percent of the nominal value, 480 volts.  
20 That is, if the voltage goes beyond that range, it  
21 just automatically tripped the transformer, and as a  
22 result, you would lose the vital AC bus. It happens  
23 during that event some of the voltage goes below 350,  
24 and indeed, that caused tripping of the transformer,  
25 and loss of multiple vital AC buses.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   Core protection calculator problem at Palo  
2 Verde. This appears to be just a software was written  
3 not following the requirement specification; that is,  
4 the core protection calculators take analog inputs and  
5 compare it with some set point and determine if a trip  
6 is needed. The design is such that when two input  
7 modules are unavailable, core protection calculator  
8 should generate a trip signal, but it didn't. It was  
9 programmed to use the last known good value of the  
10 input, so it seemed to me, it's a simple error of not  
11 program following the requirement specification. This  
12 type of failure, of course, is a potential common  
13 cause failure, too. To trigger its failure, you have  
14 to lose the two analog channels, which is probably  
15 random, so it's not that likely you'll have redundant  
16 failures because of this software failure.

17                   Ontario Hydro's refueling accident - this  
18 is an accident that involved quite a few independent  
19 events; that is, you have combination of four or five  
20 events that appear to be independent to trigger the  
21 failures. And as a result, there's a small loss of  
22 coolant accident. What happened was that the CANDU  
23 reactor can perform refueling while the reactor is on-  
24 line. They way it's done is that you have a fuel  
25 channel. You connect one fuel machine to one end, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 another to the other end, and then you connect the  
2 fuel machine to the fuel channel such that it become  
3 part of pressure boundary, and you push from one end.  
4 You push the old fuel out, and the new fuel in, and  
5 then you reseal the ends.

6           During this accident, what happened is one  
7 fuel machine was clamped to the fuel channel, and  
8 something went wrong with the control, such that a  
9 spurious, some stimulate independent event triggered  
10 movement of the grade of the bridge, such that when  
11 it's clamped and you try to move it, it created a  
12 small LOCA. The combination of events that led to  
13 this involve, first, there is a software fault in the  
14 error handling software; that is, somehow the return  
15 address wasn't specified correctly. It was specified  
16 such that at the end of this error handling, it will  
17 go through the routine that will move the crane. And  
18 that's one event.

19           And then, first, you have to have an error  
20 on the computer, depend on trigger error handling such  
21 that the address will be pointing to the wrong place.  
22 And then this machine, this computer actually was not  
23 used to control the fuel machine that's already  
24 clamped. It's used to control some other things, but  
25 it was used to control this machine earlier, but still

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it was connected. The control is still connected to  
2 the fuel machine, such that when someone using this  
3 computer to control some other things, he generated an  
4 unrelated error, but it triggers the error handling  
5 routine, an error handling routine at the end  
6 transferred to the movement of the fuel machine.

7 Another independent event is there should  
8 be another protected computer there that should detect  
9 this kind of situation, and prevent it from occurring,  
10 but that computer was out-of-service at the time, so  
11 there are kind of four or five independent events.

12 CHAIR APOSTOLAKIS: Are they allowed to  
13 operate with this computer out-of-service? Was this  
14 a violation, in other words?

15 MR. CHU: I didn't see description of any  
16 violation.

17 MR. HICKEL: It probably had a procedure  
18 that said if the computer is out-of-service, you must  
19 manually do what the computer was going to do. That's  
20 typical.

21 MR. CHU: So these are some of the nuclear  
22 events. And then there are many other events in other  
23 industry. Some involve much serious accident. The  
24 blackout that took place two or three years ago has to  
25 do with some rates conditions. It was reported in one

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 book written by a former CIA employee that CIA planted  
2 a virus in software that the Soviet Union bought, and  
3 it caused an explosion in a natural gas distribution  
4 system, and it was a huge explosion that the satellite  
5 actually detected the explosion. At the time, it was  
6 during the Cold War period. Initially, we were  
7 thinking maybe they are launching a missile. This is  
8 reported only in that book. It was discussed in some  
9 newspaper articles, but there was no official  
10 acknowledgment of the event. So kind of that's  
11 interesting.

12 And water treatment system at an  
13 Australian location, they have some computer control  
14 of their system, and the company, they hired a company  
15 to install the system. That company has an employee  
16 that for some reason left the company, but decided to  
17 cause some trouble, and he set up some wireless  
18 control of the water treatment plant, such that in 40  
19 instances that he just opened the sewerage, such that  
20 it dumped sewerage into the river, or into a park.  
21 Eventually, he was caught when the police saw him  
22 doing something with a computer at the site boundary.

23 CHAIR APOSTOLAKIS: Again, I think these  
24 incidents would make much more sense within the  
25 classification system that classifies the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 applications.

2 MR. CHU: Yes. I guess, like one example  
3 about virus is the Davis-Besse event, where there's a  
4 virus that was introduced to the plant network,  
5 because they allowed some consultant access to the  
6 internet of the plant. So that's another virus-  
7 related event.

8 CHAIR APOSTOLAKIS: Okay, Louis.

9 MR. CHU: Let's move on.

10 CHAIR APOSTOLAKIS: What else? By the  
11 way, this classification of failure modes, on page C-  
12 33 of the Reliability Modeling Report, there is a  
13 classification scheme, which I'm not sure is  
14 consistent with what you are doing. So that's  
15 something you guys want to look into.

16 MR. CHU: Yes.

17 CHAIR APOSTOLAKIS: Okay. So where are  
18 you now, discussion of ACRS comments?

19 MR. CHU: Yes. This viewgraph, basically  
20 this task was carried out --

21 CHAIR APOSTOLAKIS: What was the comment?  
22 You are telling us what you did, but what was the  
23 comment?

24 MR. CHU: I guess it's a comment from one  
25 ACRS member.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIR APOSTOLAKIS: No, no, no. What was  
2 the comment, not whose comment it was, what was the  
3 comment?

4 MR. CHU: One is looking at failure  
5 experience to identify --

6 CHAIR APOSTOLAKIS: Okay, yes.

7 MR. CHU: -- the failure mode frequencies.  
8 So we did this task in response to that comment. We  
9 developed a preliminary model of software failure,  
10 basically it give us high level picture, how we see  
11 software failure occurs. And we viewed operating  
12 experiences, and we developed a way of categorizing  
13 events. And regarding modeling of software failures,  
14 we feel it's reasonable to model it probabilistically,  
15 because the frequency is the same as the frequency of  
16 the triggering event. The question is how you  
17 estimate such frequency, but conceptually, I don't see  
18 a problem.

19 CHAIR APOSTOLAKIS: Are you talking about  
20 the fourth bullet now?

21 MR. CHU: Yes.

22 CHAIR APOSTOLAKIS: Well, I don't know how  
23 the statement of the constant failure is a reasonable  
24 assumption follows from what you've told us. Let's  
25 take the Turkey Point incident. I mean, I don't see

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 where a failure rate could play a role there. The  
2 thing was useless, because it was constantly self-  
3 testing, so what is the failure rate? I mean, that  
4 was an error introduced from the beginning, and as you  
5 say in your slide, they were actually operating  
6 outside their design basis. I don't think that your  
7 statement there is supported by the evidence you have  
8 collected.

9 MR. CHU: The failure rate in that case  
10 would be the frequency that you have --

11 CHAIR APOSTOLAKIS: SI?

12 MR. CHU: Right. You have a demand.

13 CHAIR APOSTOLAKIS: No, because in a PRA,  
14 you would, under certain conditions, have the safety  
15 injection signal. Right? And then the next question  
16 is, what happens, is it executed correctly and so on,  
17 so you will need the probability there. The signal  
18 will come anyway, so the probability now is one that  
19 the sequencer will not respond correctly.

20 MR. CHU: Yes. It depends on where you  
21 start your calculation. There is a sequence of events  
22 that led to this SI signal.

23 CHAIR APOSTOLAKIS: Right.

24 MR. CHU: So the frequency of that  
25 sequence of events effectively is the frequency of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 this failure.

2 CHAIR APOSTOLAKIS: Yes, but this is  
3 because you know that the thing will not respond. But  
4 when I do the PRA, I'm doing a prospective analysis,  
5 so now the signal comes, and I know it has to be  
6 processed by software. What am I going to say?  
7 You're saying that in that particular case, it  
8 happened that the conditional probability was one, but  
9 that does not justify a constant failure rate.

10 I would say your first statement, the  
11 frequency of the EFC occurs, makes sense in some  
12 cases. In other words, the software operates, and  
13 then a set of conditions occurs, for which it was not  
14 designed, for example. Then the frequency of failure  
15 is the frequency of those conditions occurring.  
16 Right?

17 MR. CHU: Right.

18 CHAIR APOSTOLAKIS: It makes sense to have  
19 a rate there, but not in the Turkey Point case . It  
20 was useless. Any frequency that demanded operation  
21 from the sequencers was bound to -- I mean, would lead  
22 to a failure. There is a subtle difference, I think.  
23 Put yourself in the situation where you're actually  
24 trying to do a PRA, and now you have, in this new  
25 world, you have to consider the digital system as part

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of the system, the whole system, the response of the  
2 plant. Digital system is useless in this case.

3 MR. CHU: Right.

4 CHAIR APOSTOLAKIS: And it's not because  
5 of the context. The context is not something that  
6 applies to everything. I mean, based on what you have  
7 found, it seems to me that it's not something that is  
8 useful in general. In some instances, it is. Like,  
9 the classic example where airplane, the pilot tried to  
10 lift the landing gear when the plane was on the  
11 ground. I mean, there you can say yes, the software  
12 has nothing to do with this. It was used in a context  
13 for which it was not designed, although you might say  
14 the designer should have predicted that. Okay? So it  
15 depends on how you look at it. But in this case with  
16 the sequencer, it seems to me the context has nothing  
17 to do with anything. It was just an error.

18 MR. CHU: It is the sequencer event that  
19 led to the SI signal. But in case of PRA modeling, I  
20 agree that we need to look at, maybe instead of the  
21 model that in terms of probability.

22 CHAIR APOSTOLAKIS: Well, as we were  
23 discussing earlier, if the error forcing context was  
24 the misunderstanding of what the self-testing mode  
25 meant, then you might say the frequency of that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 misunderstanding is a rate, but I think we're  
2 stretching it a little bit.

3 MR. MARTINEZ-GURIDI: I think that  
4 something that is very important is that, as we  
5 discussed previously, there are some instances in  
6 which basically the software failure is already, is  
7 there all the time, basically since they installed the  
8 software.

9 CHAIR APOSTOLAKIS: Right.

10 MR. MARTINEZ-GURIDI: In that case,  
11 there's been no sense -- much sense in the failure  
12 rate. I believe that's what you mean to say. And the  
13 other case in which you have a software failure which  
14 is latent, and some error forcing context comes later,  
15 and then it triggers the thing.

16 CHAIR APOSTOLAKIS: Exactly. And I'm very  
17 pleased, actually, that we're having this discussion,  
18 because I think we're really getting to understand  
19 much better what is going on, and what we want to  
20 model. We have to be very careful what we mean by  
21 error forcing context, and what is the rate. So under  
22 certain conditions, I agree, there is a latent error,  
23 and under certain conditions it becomes real. Maybe  
24 the rate of occurrence of these conditions then makes  
25 sense to use, but in other cases, maybe it doesn't.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 So that's something for future thinking.

2 MR. CHU: Yes, we have a next test to look  
3 at this kind of issue.

4 CHAIR APOSTOLAKIS: Yes, and that's great.

5 MR. CHU: Your comment certainly will be  
6 helpful. We'll try to account for all this.

7 MR. MARTINEZ-GURIDI: Yes, but I think the  
8 discussion also illustrates that it's sometimes, or  
9 many times it's very difficult to identify in advance  
10 when we try to do a PRA, what is going to be the error  
11 forcing context that are out there.

12 CHAIR APOSTOLAKIS: Absolutely.

13 MR. MARTINEZ-GURIDI: I mean, there are so  
14 many possibilities, that it's a humongously difficult  
15 thing --

16 CHAIR APOSTOLAKIS: You can talk to the  
17 HRA guys how they do it. In fact, tomorrow we'll  
18 discuss it. They start with a basic scenario, they  
19 consider deviations from the scenario, and then they  
20 ask themselves how likely are these things, they rely  
21 on expert opinion a lot. And I'm not saying you should  
22 do that, but that's one input to the process, because  
23 those guys have spent a lot of --

24 MR. MARTINEZ-GURIDI: I --

25 CHAIR APOSTOLAKIS: Of course, when you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 deal with humans, it's a different situation. It's  
2 not --

3 MR. MARTINEZ-GURIDI: Yes, it appears to  
4 me that for software, it's even a more complicated  
5 issue, because software operates --

6 CHAIR APOSTOLAKIS: More complicated  
7 than human behavior? I don't know. I don't know.

8 MR. MARTINEZ-GURIDI: Because it operates  
9 at an even lower level. It takes inputs at the very  
10 lower level, it just takes data, so it's just a  
11 humongously difficult problem.

12 CHAIR APOSTOLAKIS: Anyway, I disagree  
13 with that second sentence in the fourth bullet. I  
14 think it needs more thinking, so let's go on to 27.

15 MR. CHU: Identification of error forcing  
16 context is difficult, in general.

17 CHAIR APOSTOLAKIS: It's difficult, sure.

18 MR. CHU: So there's always some faults  
19 remaining in the software. On the issue of system  
20 centric versus software centric viewpoints, system  
21 centric viewpoint includes interactions of the  
22 software with the rest of the plant. Conceptually, by  
23 considering the interaction, it is possible to  
24 identify many of the error forcing context. But a  
25 general issue still, I think, is difficult to, or is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 impossible to claim that one can find all the error  
2 forcing context, all the faults in the software.

3 CHAIR APOSTOLAKIS: But so what? I mean,  
4 that's why we have this research project. Right? I  
5 mean, if it was easy, it would have been done.

6 MR. CHU: Right.

7 CHAIR APOSTOLAKIS: The thing is, I don't  
8 understand your last bullet.

9 MR. CHU: Okay.

10 CHAIR APOSTOLAKIS: There is no  
11 contradiction. I mean, it's not a matter of  
12 contradiction, it's a matter of what makes sense to  
13 do. And go back to Turkey Point again, if I gave you  
14 just the software, and I told you this is the self-  
15 testing mode, you wouldn't find any problem with that.  
16 Right? You can't really say whether it's safe or  
17 unsafe, or what. It depends on where it is used. I  
18 mean, the software was doing what it was designed to  
19 do. And actually, I think the whole rest of the work  
20 that was presented today is really system centric, as  
21 I think it should be. Now there may be some  
22 instances, I mean, sometimes you use word and it  
23 freezes. I don't know whether that has to do with  
24 anything with another system, or with me, or whatever,  
25 maybe it's part of the -- but this is a limiting case,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 so I don't know that the word "contradiction" is the  
2 right one to use. It's what is useful and appropriate  
3 for us to do, and what we're dealing with is a nuclear  
4 power plant that's supposed to respond to certain  
5 emergencies in the right way, so that's the context  
6 within which we have to analyze these things.

7 MR. MARTINEZ-GURIDI: Yes. I think what  
8 we mean to say, what is exactly the meaning of  
9 software centric? I mean, if software centric means  
10 that we are only going to look at the software in  
11 isolation, then we are --

12 CHAIR APOSTOLAKIS: Yes, maybe as a  
13 separate component.

14 MR. MARTINEZ-GURIDI: Then we agree that  
15 that's not a proper way to approach it. However, what  
16 we see is that really software is never really treated  
17 in isolation, because --

18 CHAIR APOSTOLAKIS: In real life.

19 MR. MARTINEZ-GURIDI: In real life,  
20 because even when you design it, you are taking into  
21 account all this interaction, so you should take into  
22 account all these interactions with the plant.

23 CHAIR APOSTOLAKIS: Okay. So naturally,  
24 it should be system centric. That's what you're  
25 saying.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. MARTINEZ-GURIDI: If that definition  
2 includes that, yes.

3 CHAIR APOSTOLAKIS: Okay. That's what it  
4 is. You know, as you come to the fault tree the way  
5 we do it now, and then add an extra component, say  
6 digital system, you have to embed it in the fault tree  
7 and see how the components feed into it, they are  
8 commanded to do things. That's what -- it can't be  
9 just one additional component.

10 MR. CHU: Yes, I agree.

11 MR. NGUYEN: May I make a small comment,  
12 please?

13 CHAIR APOSTOLAKIS: Yes.

14 MR. NGUYEN: My name is Thuy, again. On  
15 this discussion of software centric viewpoints, there  
16 are a number of faults that we call intrinsic faults,  
17 that you can recognize as faults independently of the  
18 functionality of your system. For example, if you see  
19 a division by zero, or the use of uninitialized  
20 variables, or so on --

21 CHAIR APOSTOLAKIS: These are limiting  
22 cases that are not -- yes, sure. You should divide by  
23 zero. That's true.

24 MR. NGUYEN: Yes. But there are tools now  
25 that identify these type of faults automatically.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 CHAIR APOSTOLAKIS: That's good. That's  
2 not my main concern. My main concern is, if I have a  
3 LOCA, am I going to mitigate it. That's really my  
4 concern. Now if you divide by zero someplace, then  
5 we're in trouble then.

6 MR. NGUYEN: Yes.

7 CHAIR APOSTOLAKIS: That's not my main  
8 concern. Okay?

9 MR. NGUYEN: Well, that's still a case.

10 CHAIR APOSTOLAKIS: How often do you  
11 divide by zero? I don't do that often.

12 MR. NGUYEN: Well, division by zero is  
13 only one --

14 CHAIR APOSTOLAKIS: I understand what  
15 you're saying. I mean, this is a limiting case, but  
16 that's not what should be our focus.

17 MR. NGUYEN: We made a number of analysis  
18 of safety software that has been in operation for  
19 quite a long time, and we did find --

20 CHAIR APOSTOLAKIS: But another argument  
21 I will make is that if you follow the system centric  
22 approach, eventually you will find these things. And  
23 we did that at MIT, a colleague of mine had designed  
24 control software for a mission that they were going to  
25 send to space and all that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. NGUYEN: You may not have found it.

2 CHAIR APOSTOLAKIS: We found it using DFM,  
3 by trying to develop the decision tables, the student  
4 went there and he said oh, what is he doing here?  
5 He's dividing by zero. So it was found without really  
6 focusing just on the software, but trying to develop  
7 the -- but, anyway, your point is well-taken, but I  
8 don't think it's strong enough argument to abandon it.

9 MR. NGUYEN: No, no. It's just to say  
10 that there is no contradiction.

11 CHAIR APOSTOLAKIS: You can't talk to me  
12 from there. You have to come to the microphone.

13 MR. NGUYEN: It's just to say that the  
14 last bullet says there is no contradiction --

15 CHAIR APOSTOLAKIS: I understand. Thank  
16 you. Are you done, Louis?

17 MR. CHU: Almost. Another ACRS comment  
18 was to look at software reliability methods, and  
19 review them critically, so we did some review, and in  
20 our report we documented --

21 CHAIR APOSTOLAKIS: But it was not a  
22 critical review, because you say you will do a  
23 critical review later.

24 MR. CHU: Right. Our next task, we'll try  
25 to -- we'll get --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIR APOSTOLAKIS: You're going to come  
2 out and say this method --

3 MR. CHU: But I think all the foundation  
4 has been done.

5 CHAIR APOSTOLAKIS: You're going to come  
6 out and say this method is no good. Can you say that?  
7 Can we see those definitive statements at some point?

8 MR. CHU: We'll try to be more critical.

9 CHAIR APOSTOLAKIS: No, that's not what I  
10 asked. I didn't ask you to be more critical. I'm  
11 asking you to be truthful, because people usually are  
12 reluctant to say that, unless their own method is  
13 attacked, then everybody else is wrong, but that's  
14 different. I expect an objective assessment, Louis.

15 MR. CHU: Okay. We'll try. We'll try.

16 CHAIR APOSTOLAKIS: Formal methods, have  
17 you contacted the Canadians at all? I understand they  
18 have done something like this. Not exactly formal  
19 methods, but they borrowed from formal methods, and I  
20 don't know what they did, they formulated certain  
21 things using lesson learned from there, and they were  
22 very pleased with that. Ontario Hydro, have you  
23 talked to anybody there?

24 MR. CHU: No, no. We'll try to. It looks  
25 like formal method is a reasonable thing to try, even

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in terms of finding software faults. You use  
2 mathematical language to model your requirement  
3 specification, such that you can check. When you  
4 develop such a model, you think more systematically so  
5 it's not likely you'll make mistakes in specifying  
6 requirements, and the tools will automatically check  
7 for some kind of inconsistencies, completeness issues.  
8 And Nancy Levenson had done that in the Traffic  
9 Collision Avionic Systems successfully.

10 CHAIR APOSTOLAKIS: Well, SRI, I think, is  
11 doing -- SRI in California.

12 MR. ARNDT: George, the Germans and the  
13 Indians actually have also done work in this area.

14 CHAIR APOSTOLAKIS: Yes. It would be  
15 useful to see. Because eventually you may want to  
16 have a combination of approaches.

17 MR. ARNDT: Yes.

18 CHAIR APOSTOLAKIS: If this 36 percent of  
19 errors are due to requirements, you might say gee, my  
20 dynamic methodology doesn't quite fit that, but look  
21 what I do before I apply it. I do some formal thing  
22 to minimize it, I do something else, so the  
23 combination eventually probably will be -- they have  
24 different objectives.

25 MR. ARNDT: Yes. The big issue with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 formal methods is that, at least as it's been applied  
2 in the nuclear industry so far, is that it's really  
3 more an error detection and error reduction  
4 methodology, as opposed to a modeling methodology.  
5 It's useful in other aspects of the digital research  
6 program plan, less so in the reliability part of it.

7 CHAIR APOSTOLAKIS: Yes, but if you tell  
8 me that I'm doing my reliability analysis using this  
9 method, assuming that I have already done these other  
10 things, then maybe that will give it a little more  
11 substance.

12 MR. ARNDT: That really gets to something  
13 that the U.S. industries also put forth as part of the  
14 EPRI methodology. The mechanisms by which you can,  
15 like formal methods, and redundancies, and fault  
16 tolerant techniques --

17 CHAIR APOSTOLAKIS: Okay.

18 MR. ARNDT: -- give you a higher  
19 likelihood that you're not going to have problems.

20 MR. CHU: And the method I think was  
21 recommended by the National Research Council, too.

22 CHAIR APOSTOLAKIS: Which method?

23 MR. CHU: The formal method.

24 CHAIR APOSTOLAKIS: As one of the methods  
25 that are available. Right?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CHU: Right. Since we are trying to  
2 develop Markov type of model for digital system, and  
3 quantification of software failure rates or failure  
4 probability will be an important part of the model  
5 development. Currently, we're thinking about using  
6 Bayesian belief network method. Some European  
7 countries have tried it. It is a tool for performing  
8 quantitative analysis of decision making, and in our  
9 application, we will develop some kind of network, and  
10 one of the nodes will be say software failure  
11 probability, the quality of the software. And then we  
12 identify different things that affect the quality of  
13 the software, the failure rate, or failure probability  
14 of the software. And express the relationship in  
15 terms of some kind of conditional probability tables,  
16 and such tables certainly will have to be derived  
17 probably based on judgment, based on expert  
18 elicitation. In general, this seemed to be a  
19 reasonable way for quantifying software failure rates  
20 or probabilities.

21 Conclusion - software failures occur many  
22 different ways. Experiencing other industry is, in  
23 general, applicable to the nuclear industry. Some  
24 failure took place in such a way that implies very  
25 detailed modeling would be required. Some failures

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 involve non-application software, that implies the  
2 type of software analysis needed to identify those  
3 problems. It's reasonable to model software failures  
4 in --

5 CHAIR APOSTOLAKIS: And that's where I am  
6 not sure that's correct.

7 MR. CHU: Yes.

8 CHAIR APOSTOLAKIS: And we need to  
9 investigate this idea of context and all that more  
10 carefully.

11 MR. CHU: Yes.

12 CHAIR APOSTOLAKIS: Remember, this is a  
13 subcommittee meeting that's supposed to be helpful.  
14 Right? I mean, it's not a final review of the  
15 project.

16 MR. CHU: We had a high level model for  
17 software failure. That part can be further developed,  
18 trying to look into this kind of issue.

19 CHAIR APOSTOLAKIS: Absolutely.  
20 Absolutely. Conclusion two.

21 MR. CHU: In terms of identifying software  
22 faults, it looks like there are many different  
23 methods. Each method, they have advantages and  
24 weaknesses. In general, you kind of want to use  
25 combination of them. But still in the end, most

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 likely, you cannot assume there's no faults in the  
2 software.

3 CHAIR APOSTOLAKIS: The biggest problem  
4 here is not really finding faults, in the context of  
5 reliability, is what can you say about the probability  
6 of performance in the future, given that you have  
7 found faults, and you have fixed them?

8 MR. CHU: Right.

9 MR. HICKEL: The problem, George, is that  
10 I believe that there's -- just the data, I'd say the  
11 data right now shows that the rate of introduction of  
12 faults after its been turned over and is in use, is  
13 very high.

14 CHAIR APOSTOLAKIS: Yes, I agree.

15 MR. HICKEL: They include things like the  
16 vendor supplying the wrong set points, and that's not  
17 unique to digital, but it also includes all these --  
18 there is a lot of experience about things getting  
19 changed in the field.

20 CHAIR APOSTOLAKIS: And the question is  
21 how do you model it?

22 MR. HICKEL: Probably your HRA is more  
23 associated with this than the digital software  
24 reliability.

25 CHAIR APOSTOLAKIS: We inject errors into

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 the operators?

2 MR. HICKEL: No, they inject it into the  
3 equipment. Most of the time, the equipment catches  
4 it, and that's when you get an LER, thank God.

5 CHAIR APOSTOLAKIS: The common saying that  
6 you shouldn't fly an airplane right after its  
7 maintenance. Okay. I guess that's it.

8 MR. CHU: Yes. The things on the list we  
9 have has already been discussed.

10 CHAIR APOSTOLAKIS: Very good. Any  
11 comments for these gentlemen from anyone? Thank you  
12 very much. Very nice. And the next subject is the  
13 Regulatory Guide. I understand the presentation is  
14 not too long, but we are going to take a few minutes,  
15 so let's come back at 10 minutes after, unless the  
16 members disagree. You want 15 minutes?

17 (Whereupon, the proceedings went off the  
18 record at 4:02:39 p.m. and went back on the record at  
19 4:16:55 p.m.)

20 CHAIR APOSTOLAKIS: Okay. Now we are  
21 talking about the Development of Regulatory Guidance.  
22 Mr. Arndt.

23 MR. ARNDT: Yes.

24 CHAIR APOSTOLAKIS: Have we seen this  
25 diagram before?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ARNDT: Yes. I just wanted to mention  
2 a couple of things real quick before I go on. Two  
3 quick things, to fix it in the Committee's mind,  
4 because it's been an issue before. We're obviously  
5 going to be talking about this element here, the  
6 development of regulatory guidance, and this has  
7 inputs both from what our stakeholders were talking  
8 about, and what they're interested in, and the issues  
9 they have, but also the information we learned from  
10 the rest of the program.

11 Also, before we get out of here, I want to  
12 make a couple of quick comments to remind you who's  
13 doing what so you can get it straight in your head.  
14 The overall program plan, all the different areas, is  
15 being managed out of the INC Group, and I'm the  
16 overall Program Coordinator for that. The traditional  
17 methods that we talked about most recently, is being  
18 managed out of our PRA Group, Todd Hilsmeier is the  
19 NRC Program Manager for that part of it, and BNL is  
20 the prime contractor. The dynamic models, I also wear  
21 that hat as the Program Manager for that area. The  
22 prime is Ohio State University, Tunc Aldemir and his  
23 group, and he has a couple of subs, one looking at DFM  
24 modeling methodology at ASCA, and also the UVA that is  
25 working both on the development of actual interface

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 with the system that we're working on, but also  
2 working on the modeling of the coverage space and  
3 things like that. So this is basically what the  
4 structure of the program is, so --

5 CHAIR APOSTOLAKIS: Are you getting any  
6 input from NRR?

7 MR. ARNDT: Yes. And as we move toward  
8 the regulatory guidance development, that involvement  
9 is going to expand.

10 Now as I pull this other one up, I want to  
11 also mention, we appreciate the opportunity to come  
12 and work with you. One of the things I just want to  
13 mention is at the last meeting, you really emphasized  
14 your desire to work with us, and work on intermediate  
15 results, so some of this has been watching sausage  
16 being made, to some extent. But we appreciate your  
17 comments and your review, and we hope to continue  
18 working with you in that area. And we can talk about  
19 that later after the end of the last presentation.

20 This is going to be some general ideas on  
21 what we think the structure and content of the  
22 regulatory guidance is going to be. As I mentioned  
23 earlier, this is a process by which we're trying to  
24 develop the ideas, get input, and work with the  
25 stakeholders before we send it out, the first draft

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 out for public comment.

2 As we mentioned earlier, as part of the  
3 overall research program plan, we're developing the  
4 needed regulatory guidance to support risk-informed  
5 digital system reviews. To do that, we're taking the  
6 information that we're gaining from the other parts of  
7 this program, understanding the failure data,  
8 assessing the model, what models can be used,  
9 determining what systems need to be modeled at what  
10 level of detail, developing acceptable methods and  
11 acceptance criteria associated with that.

12 A little bit of reiteration. Industry has  
13 expressed interest in this area. We want to both  
14 develop regulatory guidance for regulatory  
15 applications of this method, but also to continually  
16 update the actual PRAs so they're consistent across  
17 the board, and model the digital systems.

18 MR. HICKEL: Steve, could I ask a question  
19 back on that last slide.

20 MR. ARNDT: Sure.

21 MR. HICKEL: You're saying as the  
22 licensees replace analog system with digital systems,  
23 their current PRAs are not keeping up with these  
24 changes. Now are you -- you're not expecting, or the  
25 staff, or NRR doesn't expect the licensees to modify

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 their PRAs for non-safety-related control systems.

2 MR. ARNDT: We do not.

3 MR. HICKEL: You do not. Okay.

4 MR. ARNDT: And if you look at the way we  
5 implement risk-informed regulation, there's an  
6 evaluation as to whether or not the models that are  
7 being used for the particular risk-informed  
8 application are sufficient quality, completeness, and  
9 other things, to support that particular application.  
10 This simply is highlighting the fact that if you want  
11 to do something that happens to touch a system that  
12 happens to be a digital system, then you're going to  
13 have some challenges, if you haven't updated that  
14 piece, as well. If you don't need to do that, we  
15 don't need to evaluate it, and you don't need to have  
16 that application. But we're starting to see in a few  
17 very selected applications where that's starting to  
18 touch these kinds of issues.

19 MR. HICKEL: Okay. Examples being things  
20 like sequencers and --

21 MR. ARNDT: Examples being, for example,  
22 risk-informed tech specs. If you want to do risk-  
23 informed tech specs for various systems, and one of  
24 them happens to have control and protection systems,  
25 that's fine, so long as the modeling for that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 particular system is accurate to what's currently in  
2 the plant, and accurate to the level of detail that it  
3 models all the important aspects of the systems. If  
4 you want to exclude that particular system from your  
5 risk-informed tech spec, that's fine. But if you want  
6 to include it, then we need to establish some criteria  
7 as to what is a regulatorily acceptable digital system  
8 model for that application.

9 MR. HICKEL: Well, the main reason  
10 somebody might want to get relief is he's going to put  
11 in a system that's automatically tested to replace one  
12 that he used to have to go do surveillance on.

13 MR. ARNDT: That would be one example,  
14 yes.

15 MR. HICKEL: Okay.

16 MEMBER BONACA: A question I had, Steve,  
17 was a number of these replacements, I believe have  
18 occurred under 05.59.

19 MR. ARNDT: Correct.

20 MEMBER BONACA: And I would expect that  
21 industry will still try to use 50.59 to perform  
22 changes without having formal approval.

23 MR. ARNDT: There will be a number of  
24 situations where that will be the case, yes.

25 MEMBER BONACA: Okay. Now I'm wondering

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 about bullet number two, where I see that the industry  
2 has expressed interest in using risk-informed  
3 regulation, Regulatory Guide 1.174, as an alternate  
4 method for licensing the systems. And so I'm trying  
5 to understand --

6 MR. ARNDT: Some systems we have  
7 specifically stated we expect the licensees to bring  
8 them in for regulatory review.

9 MEMBER BONACA: Okay. There has been the  
10 clarification.

11 MR. ARNDT: Reg Guide 1.174 provides  
12 guidance on how to do risk-informed decision making.  
13 But as we've talked about, it doesn't provide specific  
14 criteria for digital systems. Now does it necessarily  
15 need to? Well, as we work this out, we'll find out  
16 what additional guidance, if any, is necessary. As  
17 you know, there's a series of guides to specific risk-  
18 informed applications, risk-informing the Q List,  
19 risk-informing the tech specs, et cetera. We believe  
20 the unique aspects of digital systems means you need  
21 some additional guidance.

22 Because of that, we want to look at issues  
23 associated with digital system modeling, as well as  
24 the other aspects of regulatory review that you need  
25 to do for risk-informed guidance; that is to say, how

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 does the requirements in 174 for maintaining  
2 sufficient safety margin meeting the current  
3 regulations defense-in-depth philosophy, and  
4 performance measurement strategies apply when you do  
5 a digital system upgrade based on the risk-informed  
6 application.

7 This is basically a reiteration of what  
8 I've said a couple of times already today, our  
9 strategy for the development. Development and  
10 understanding of the characteristics, what are the  
11 things that might be necessary to model to have a  
12 sufficiently good model for these applications? Some  
13 of those were articulated in Reg Guide CFR 69.01 and  
14 various other work that's been published, and will be  
15 published. Is this a complete list, is it a list that  
16 has to be satisfied by every model? No. That goes  
17 back to the categorization issue that we've talked to,  
18 and I'll talk to a little bit later in this  
19 presentation.

20 Identify methodologies for modeling the  
21 systems. We've done that, and we're going to continue  
22 to do that. Develop an understanding of the data  
23 issues - that's a very large issue. Develop draft  
24 regulatory guidance or a draft regulatory approach -  
25 this is the guide that we're going to use. It's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 tentatively DG-1151, an approach to plant-specific  
2 risk-informed decision making for digital systems.  
3 We're going to have, as we mentioned earlier, a public  
4 meeting or a workshop to discuss our strategies for  
5 putting this together, and we hope to publish the  
6 comment - the draft for public comment in December of  
7 this year.

8 This is a very rough first guess at a  
9 structure for what the reg guide would include.  
10 There's a discussion of the modeling requirements,  
11 discussion of the issues associated with integration  
12 of digital system models into the full PRA model  
13 methodology, discussion of the data requirements. I  
14 expanded out and will highlight the uncertainty  
15 analysis issue here, primarily because 174 doesn't  
16 talk to it in great detail, and this is an area, as we  
17 discussed earlier, there's a lot of uncertainty  
18 associated with the data, with the models, with the  
19 context or operational profile that are going to  
20 assume that we want to have some explicit guidance  
21 associated with this.

22 The acceptance criteria - is the Delta CDF  
23 and Delta LERF appropriate, and if so, are additional  
24 guidance necessary? And then, how do you interpret  
25 the other issues that you need to look at for risk-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 informing performance measures, maintaining sufficient  
2 margin, defense-in-depth, diversity, those issues.

3 Here are some of the modeling requirements  
4 we are looking at, including - now to some extent this  
5 is motherhood. We want to model everything as best  
6 you can, but from these criteria, we want to focus in  
7 on what we care about when we are going to review one  
8 of these models. The model must account for  
9 important, relative features of the system under  
10 consideration. Model must make valid, plausible  
11 assumptions about the system characteristics, and  
12 justify these. Model must be able to quantitatively  
13 describe the dependencies between failure events,  
14 support systems, common mode failures, dynamic  
15 interactions, and if the model - if you choose not to  
16 model some of these things, demonstrate why they're  
17 not important. In very simple actuation systems, it  
18 probably is very easy to demonstrate why they're not  
19 important. In more complex systems, probably not.

20 Be able to differentiate between permanent  
21 and intermediate failures, distinction between  
22 multiple and single failures, issues associated with  
23 the complexity of the system. If the system is not  
24 very complex, then you discuss why it's not important,  
25 and why the model doesn't need to include it. If it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is complex and you still choose not to model it, then  
2 we have a much more detailed requirement for  
3 understanding how you're going to deal with that.  
4 Understand the model must be able to provide the kinds  
5 of information that you need for inclusion in a PRA,  
6 cut sets, probability failure, uncertainty.

7           There's nothing to say that this can't be  
8 a multi-stage analysis, a stand-alone model that is  
9 then integrated with the PRA. But if you're going to  
10 do that, you've got to go back to how does that meet  
11 the criteria above for characteristics, and  
12 interfaces, and system dependencies, and things like  
13 that. Methodology must be able to incorporate the  
14 various accident sequences, and have enough detail so  
15 that if there's interactions with non-INC systems,  
16 that that's included.

17           Level of modeling detail - same kind of  
18 concepts; that is to say, not saying you have to use  
19 DFM, or you have to use Markov, or whatever, it's  
20 saying you have to use modeling detail sufficient to  
21 capture the important aspects of the digital system.  
22 The digital systems RNL issues, issue you brought up  
23 earlier, George, unique failure modes, if there are  
24 unique failure modes, unique characteristics of  
25 software failures and tests, some of the stuff that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Louis mentioned earlier.

2           If you want to look at simplified models,  
3 we would ask that you verify that the unique system  
4 characteristics that are not modeled in your  
5 simplified models aren't important. We want you to  
6 look at understanding how the data fits the model. If  
7 you data doesn't fit the model, or you're not  
8 capturing the unique characteristics of the potential  
9 failure modes in the data, we want to understand how  
10 you're doing that, and why you're doing it that way.  
11 Common mode failure issues, system interaction issues,  
12 and the last bullet there gets to the issue that we  
13 talked about earlier in the day - validate the events  
14 that have happened in historical record can be modeled  
15 by the level of abstraction that you have.

16           We hope to have some examples to  
17 illustrate what we really mean by these things. We'll  
18 probably inform that by our categorization issues that  
19 we've talked about today.

20           If it's an implicit integration, if you're  
21 going to do a fault tree/event tree-type model, this  
22 is less important. If you're going to do something  
23 more sophisticated, this is more important, in the  
24 same way that you would, say, do a seismic analysis,  
25 or some other kinds of analysis that is embedded in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 current generation PRAs. You need to include all the  
2 important interactions and dependencies, and include  
3 systems that would impact or would be impacted by the  
4 digital system changes.

5 Data requirements - this is going to be  
6 challenging for everybody, but we want to look at what  
7 data is being extracted, both in generic databases,  
8 the plant-specific or system-specific databases,  
9 particularly if we're going to use databases from  
10 vendors or parts manufacturers that may not be  
11 publicly available information, or may not have had  
12 public peer review, and what the limitations and  
13 biases, if any, are for those systems. Then look at  
14 if some of the data is being supported by test  
15 methodologies, be it reliability growth modeling for  
16 software, or some of the factor acceptance testing,  
17 site acceptance testing data, or specific data,  
18 specific testing methodologies to develop specific  
19 data like the fault injection methodology, understand  
20 what those are telling us, and how applicable they are  
21 to the particular delivered product, as well as how  
22 much of the system are they really covering.

23 In terms of review of the database, these  
24 are some of the issues we want to understand. The  
25 data collection hasn't been done in a systematic way.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Is it a good structure database, can we interrogate  
2 it, is there good configuration management for the  
3 measures, is the root cause analysis for the database  
4 entries appropriate.

5 One of the biggest challenges with LER  
6 database, for example, is you frequently only get very  
7 high level causes, the module failed. Modeling at the  
8 module level, and that is sufficient, that's great.  
9 If you're modeling at a lower level, or a higher  
10 level, you need to understand how that has been  
11 generated, so that's going to be an issue that we're  
12 going to look at.

13 Now some of this is the same kind of stuff  
14 that you would see in any PRA analysis. However,  
15 there are some unique aspects of digital systems, so  
16 we won't look at them in a unique way. We talked  
17 about model uncertainty earlier, look at model  
18 uncertainty, look at operational profile uncertainty,  
19 or context uncertainty, if you prefer, the knowledge  
20 of the possible input space, and the probability  
21 distributions associated with it, and data  
22 uncertainty.

23 Additional requirements - as I mentioned  
24 earlier, this is acceptance criteria explicitly laid  
25 out in Reg Guide 1.174. There may need to be some

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 additional acceptance criteria for the digital  
2 systems. We need to look at how we meet the current  
3 regulations and defense-in-depth philosophy as  
4 embodied in 10 CFR 50.55 a(h), the various reg guides,  
5 603, and the interpretation of how our regulatory  
6 structure currently exists.

7 One of the issues associated with risk-  
8 informed upgrade or risk-informed evaluations is a  
9 specific look at how the performance measurement  
10 strategies are going to be applied. In the case of a  
11 risk-informed digital system, that might include long-  
12 term validation of the data used, monitoring of  
13 industry-wide events to assure the assumptions  
14 continue to be valid. As the technology associated  
15 with digital systems changes, we want to make sure  
16 that the assumptions that was used in the digital  
17 reliability modeling also continue to be valid.

18 So, again, these are first thoughts of  
19 things that need to be included in a structure that  
20 would, I think, both give the NRC a relatively good  
21 assurance that the modeling is being done  
22 appropriately, at the same time giving sufficient  
23 flexibility to the industry to propose alternative  
24 methodologies.

25 The research into the current state-of-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the-art methods is being used to help inform this  
2 regulatory guidance development, looking at a large  
3 number of potentially viable methods, developing  
4 acceptable methods. And as I just mentioned, we plan  
5 on making this a performance-based; that is to say,  
6 not prescriptive to a particular modeling methodology,  
7 but rather, defining acceptable characteristics of a  
8 modeling methodology.

9 The point of giving you some general ideas  
10 here is to see whether or not you seem to think this  
11 is a reasonable first approach for developing the  
12 guidance, and also to look at issues that the  
13 committee may think need to be included that we have  
14 not thought of at this point. Any comments along  
15 those lines would be much appreciated.

16 CHAIR APOSTOLAKIS: This is a pretty high  
17 level description, so it's hard to, at least for me,  
18 to come up with any substantive comments, unless my  
19 colleagues have something to say. Is the subcommittee  
20 going to review this guide as it is being developed,  
21 subcommittee meeting?

22 MR. ARNDT: The standard procedure, as you  
23 know, is once the draft is developed, it will be sent  
24 to the ACRS to either be reviewed before public  
25 comment, or waive review until after public comment.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 You, of course, have the option to review it before  
2 it's sent out for public comment, if you choose.

3 Additionally, of course, as we go forward,  
4 we plan on having additional informational briefings  
5 to the subcommittee.

6 CHAIR APOSTOLAKIS: That's what I was  
7 asking. I mean, you do plan after you have some,  
8 let's say it's 40 percent complete, maybe have an  
9 information meeting and see what the reaction of the  
10 subcommittee would be?

11 MR. ARNDT: It depends on scheduling, and  
12 sequencing, but we could do that. Well, for example,  
13 we're going to have internal review of the rough  
14 draft, we're going to have the workshop that's going  
15 to talk about this in more detail because it'll be  
16 further along at that point. We'll get feedback from  
17 the stakeholders. At some point between then and the  
18 time we actually send it to the ACRS for review, we  
19 could have a subcommittee meeting to discuss that,  
20 among other things.

21 CHAIR APOSTOLAKIS: I think that would be  
22 advisable. So you think the next time we'll see this  
23 will be when it's really a draft of a regulatory  
24 guide, not before. Well, maybe -- if we have a  
25 subcommittee meeting to discuss other issues, maybe we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 can find a couple of hours to also discuss the --

2 MR. ARNDT: That would be very useful.

3 CHAIR APOSTOLAKIS: Yes.

4 MR. KEMPER: This is Bill Kemper. I think  
5 that's a good idea, George, because we wanted to try  
6 to discuss the software metrics project that just  
7 didn't work out for us, so we do want to get back with  
8 you in the next few months to talk about that, so  
9 maybe we can combine this at the same time.

10 CHAIR APOSTOLAKIS: That would be a great

11 -- MR. KEMPER: I'm very much interested in  
12 getting all of your insight into this draft reg guide  
13 before we actually send it out for public comment.

14 CHAIR APOSTOLAKIS: Very good.

15 MR. KEMPER: Probably, I'm guessing,  
16 probably around October-ish time frame is what we'd be  
17 looking at from a calendar perspective.

18 MR. ARNDT: We'll work it out with the  
19 staff.

20 MR. GAERTNER: I'm John Gaertner from the  
21 Electric Power Research Institute. First of all, it's  
22 been a very interesting day. I really enjoyed  
23 learning these things, and the exciting things you  
24 have underway. And as you know, we, and our  
25 representation, the industry group, we support the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 risk-informing of this decision making for digital  
2 INC, and we support the use of the PRA. But a few  
3 things, Steve, that you said in this last talk leave  
4 me a little concerned, so I just wanted to point them  
5 out.

6 First of all, there seems to be a strong  
7 desire to incorporate the INC modeling deeply into the  
8 existing PRA as part of this effort, and I think that  
9 could be a mistake. It's appropriate, I think, to use  
10 the PRA to determine the acceptability of the digital  
11 INC from a risk perspective, but a lot of the  
12 assessments you're going to do are going to be  
13 bounding, and that'll be acceptable to show the safety  
14 of the INC system, but you don't want those bounding  
15 assumptions put back into your PRA permanently. And  
16 also, there'll be considerably uncertain, as we saw  
17 from the data analysis that we saw. And we have  
18 issues with aggregation - when we put things together  
19 in PRA, and some things are highly uncertain and some  
20 things aren't, or highly conservative and aren't, we  
21 don't like to aggregate them. So I think it may be in  
22 the best interest to keep the two separate, to a large  
23 extent, and not insist that the detailed modeling be  
24 incorporated into the PRA, necessarily. That's my one  
25 comment.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           My second one has to do with defense-in-  
2 depth. I'm still concerned that it looks like we may  
3 be still expecting to have a high level of  
4 deterministic defense-in-depth, in addition to the  
5 risk-informed, and that would make some sense, even in  
6 Reg Guide 1.174, because where there's a lot of  
7 uncertainty in risk analysis, one asks for defense-in-  
8 depth. So I want to make sure that we're not just  
9 compounding, that we're not adding this risk-informed  
10 as an additional requirement on what we already have,  
11 so for that reason, I think we need to reconsider the  
12 current defense-in-depth requirements in light of the  
13 risk-informed approach that we're using. So I hope  
14 you'll do that in your reg guide. Thank you.

15           CHAIR APOSTOLAKIS: Okay. Thank you,  
16 Steve. The industry has requested time, Mr. Marion.

17           MR. MARION: Good afternoon. My name is  
18 Alex Marion. I'm Executive Director of Nuclear  
19 Operations and Engineering at NEI. And I do have a  
20 couple of comments I'd like to make relative to  
21 successful application of digital technology in  
22 today's nuclear plants, as well as in tomorrow's  
23 nuclear plants. But before I get into that, I would  
24 like to make a couple of comments about the last  
25 presentation from Steve on the reg guide. And I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 accept the fact that this is very preliminary thinking  
2 on the part of the staff, but this is extremely  
3 important. If it's not done properly, it will be a  
4 barrier to progress, and what I mean by that is, the  
5 regulatory process associated with applying digital  
6 technology will be so onerous that it will not be  
7 applied. And that's a disservice to just about  
8 everyone involved, including the NRC.

9           Based on what I heard today from the  
10 research activities, and it's all kind of interesting,  
11 it appears that the NRC is creating a situation where  
12 they're going to impose on the licensees through this  
13 regulatory guide to develop answers to some of the  
14 questions that were raised today. And these are  
15 questions that the NRC ostensibly is hoping to address  
16 through this research program, so we have to be sure  
17 as we go forward, if you take it to that level of  
18 detail in this document, that we understand, together  
19 understand what the expectations are, but more  
20 importantly, how to satisfy those expectations in a  
21 reasonable manner. And that's going to be the  
22 greatest challenge in this effort.

23           And to get back to John Gaertner's comment  
24 about risk-informing the process, we do support that,  
25 but we do want to make sure as we go through that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 process and document it in the regulatory guide and  
2 license amendments that will follow, hopefully, that  
3 it allows us to prioritize and identify those areas  
4 that are risk-significant that warrant attention. And  
5 I submit that everything we talked about today in  
6 terms of the research activities are not necessarily  
7 risk-significant.

8 We do want to engage the staff as we go  
9 forward, which includes the Office of Research and  
10 NRR, this is a very important activity for us, and we  
11 want to make sure it's successful. Within NEI, we  
12 agree that we need to make this as successful as we  
13 possibly can, and so the only way we can do it is work  
14 with the NRC hand-in-hand, identify the issues,  
15 prioritize them from the standpoint of risk, identify  
16 options on addressing those issues, et cetera, and  
17 moving the ball forward, if you will.

18 Timeliness of this is a concern on our  
19 part, especially with regard to new plant activities.  
20 Currently, the vendors are designing systems. We have  
21 systems that have been installed in other countries.  
22 There's an opportunity to start collecting data. I  
23 submit that in the presentation earlier this afternoon  
24 where four operating events were identified, it  
25 doesn't make sense, to me, that we worry about a 15 to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 20 year experience with digital technology, given the  
2 pace of technology and its development. Okay? Just  
3 think about what's happened in computer science over  
4 the last five years. Okay? And the processes that we  
5 have in place at nuclear power plant, as you well  
6 know, is where there's an event where there's a  
7 problem, there's a root cause evaluation, and  
8 corrective action taken, so the relevance of these old  
9 events just doesn't seem to make sense to me.

10 Let's see. Conventional PRA methods, at  
11 this point, appear to be satisfactory if software,  
12 common cause failure, and fault tolerant design  
13 features are modeled in a conservative way. And we  
14 provided a document to the NRC that was developed by  
15 EPRI on defense-in-depth and diversity, and we're  
16 hoping that the review of that document can proceed  
17 in light of what we heard earlier today, and the  
18 comments on it. We need to establish some confidence  
19 in applying PRA technology, and I was pleased to hear  
20 that the research program includes benchmarking.  
21 That's extremely important. We think that is one of  
22 the key elements of making this entire process  
23 successful, because that gives us a reasonable time  
24 frame to start developing some data, and we support  
25 that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And what I'd like to do is propose an  
2 integrated approach. We'll be thinking about, after  
3 we all debrief next week, we'll be thinking about  
4 sending in a letter to the NRC offering an integrated  
5 action plan of things that we think need to be  
6 addressed in order to make this process successful.  
7 There are analyses and designs that are currently  
8 ongoing for new plant construction. I know that  
9 Oconee withdrew their submittal for their upgrade, but  
10 I suspect that there are other utilities, well, I know  
11 there are other utilities seriously thinking about a  
12 submittal, so there are things that we need to  
13 identify, that we need to address now within the next  
14 six months. Otherwise, all of this activity is in  
15 jeopardy.

16           The draft reg guide and the August  
17 workshop schedules are extremely ambitious in light of  
18 what we heard today, but I still think there are some  
19 opportunities for addressing the low-hanging fruit,  
20 and get the process moving.

21           The industry would like to be a peer in  
22 the review of the research projects. It's kind of  
23 awkward to be sitting here at a discussion, where the  
24 committee members are commenting about a draft report  
25 that they have, but that report wasn't made publicly

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 available. We could have offered some input and  
2 comments, and insights on that, as well. So at the  
3 appropriate time, we would respectfully request to be  
4 part of that peer review, because this is extremely  
5 important to the industry in a number of ways.

6 We are also interested in looking for  
7 opportunities for collaborative research. We have the  
8 NRC's research plan, we'll look at that, and hopefully  
9 in the not too distant future, schedule a meeting  
10 where we can talk about such opportunities and try to  
11 figure out how we can work together on answering those  
12 questions.

13 I mentioned the EPRI topical report that  
14 was submitted. I'd like to see that review progress.  
15 We did receive comments from NRR. Those comments, I  
16 think we can respond to. We generally agree with the  
17 basic thrust of those comments. I don't know if we  
18 should expect similar comments from the Office of  
19 Research. I don't know if the Office of Research was  
20 involved in putting those comments together or not.  
21 All right.

22 Over the long term, NUREG CR 69.01 was  
23 published, identify methods. There are a couple of  
24 things we want to say about that approach. As we go  
25 through evaluating digital systems and how to model

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       them, we need to keep in mind a couple of things.  One  
2       is, there are applications that deal with a specific  
3       threshold, digital applications under these conditions  
4       you open a valve.  All right?  Under these conditions  
5       you respond to a particular pressure reading on an  
6       instrument, et cetera, relatively straightforward and  
7       fundamental.  Others are more dynamic with a feedback  
8       loop process, and we need to make sure that those two  
9       kinds of applications have to be dealt with in  
10      different manners.  And I think you acknowledge that,  
11      at least based upon what I heard today.  But the NUREG  
12      CR 69.01 doesn't differentiate between those two forms  
13      of applications, or two types of applications.

14                We've looked at all the experience with  
15      digital systems, specifically some of the software  
16      issues, or the software-related experiences, and we  
17      characterize a great majority of them as being basic  
18      configuration management.  Make sure that the  
19      application meets the intended service it's going to  
20      see in the field, et cetera, and you make sure it's  
21      compatible with the design features of the system that  
22      you're applying it to, et cetera.  That's  
23      configuration management, straightforward.

24                As we go through this process, we'll  
25      consider whether or not any specific guidance or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 encouragement is needed from NEI in reinforcing that  
2 message, but that seems to be extremely fundamental  
3 that we need to agree on, and I think ultimately the  
4 staff will agree on that, as well.

5 We need to differentiate, as you go  
6 through these evaluations of software failures, it  
7 would be helpful if you could differentiate between  
8 operating system failures and application failures.  
9 That's extremely important. I mentioned the point  
10 about relevance of aged experience. One other thing,  
11 and the committee knows from presentations I've made  
12 before, that I really focus on the process. If we can  
13 understand the process, we know how to get from Point  
14 A to Point B.

15 We want to be careful that we don't use,  
16 or we don't set up an environment or situation where  
17 the license amendment process by utilities wanting to  
18 submit these applications for NRC review, becomes the  
19 way that the NRC regulates digital applications in the  
20 future. And I don't mean that in a negative, critical  
21 manner. What's important, I think, and the way to  
22 avoid getting into that trap is to focus on the risk-  
23 informed decision making associated with these  
24 applications, and I think that that ought to be the  
25 first principle that we all agree on. All right?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           We've had experiences with risk-informed  
2 applications that have been successful, and let's see  
3 if we can translate that, or transfer that to  
4 applications in digital technology, and that's where  
5 I think it's fundamentally important to stay focused  
6 so we don't lose sight of that.

7           That completes my comments. I'll be more  
8 than happy to answer any questions. Some of our  
9 industry team is here. I don't know if they want to  
10 add any additional comments, or any clarifications.

11           CHAIR APOSTOLAKIS: I was thinking about  
12 it also today, not only today, and I'm glad you  
13 mentioned that you would be willing to have some sort  
14 of collaborative research going on with the NRC. And,  
15 of course, as we all know, the fire modeling effort  
16 was a very successful effort. In the past, we've had  
17 common cause failure, common project, joint project.  
18 I think it will be very, very useful to try to do  
19 that. I think we have to be a little careful about  
20 the timing of it, so that the industry and the staff  
21 will have maybe some ideas that will evolve and then  
22 come together. But I would be all in favor for that,  
23 because I think this is a way to develop something  
24 that's practical, stakeholder views come into the  
25 picture early, and I can't think of any downside,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 really. So I, personally, would be very supportive,  
2 but I think the committee would be also very  
3 supportive based on what we have seen so far, so I  
4 would encourage you to pursue this. And I don't know  
5 now when it would be an appropriate -- and I also  
6 think the suggestion from Mr. Marion of having  
7 industry reviewers of these documents is not a bad  
8 idea. I mean, I don't know what the law says about  
9 issuing draft reports before they are draft, and so  
10 on, but if you can accommodate that, it seems to me,  
11 Steve, you're going to benefit a lot. And, again, it  
12 will be in the same spirit we're having these  
13 subcommittee meetings; you are getting input early in  
14 the process so you have a chance to respond, or at  
15 least you know what's coming down.

16 MR. HICKEL: It would seem they're members  
17 of the public, also, NEI.

18 CHAIR APOSTOLAKIS: No, but if you treat  
19 them as members of the public, then you have to wait  
20 until the time comes for members of the public to see  
21 -- I'm talking about the peer review that's happening  
22 now.

23 MR. MARION: We've been involved in peer  
24 review of other documents, and so the precedent has  
25 been set, so I'm just offering that we're still

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 available to help out.

2 CHAIR APOSTOLAKIS: I think that --

3 MR. KEMPER: Yes, if I could just add my  
4 two cents. It's certainly a priority and a goal of  
5 the Office of Research to collaborate with industry  
6 whenever possible, and so I welcome that.

7 CHAIR APOSTOLAKIS: So it seems to me  
8 there is no --

9 MR. KEMPER: It's just a matter of us  
10 getting together and working out the details, the  
11 logistics. All right?

12 CHAIR APOSTOLAKIS: Okay. Good.

13 MR. KEMPER: Peer review, also timing is  
14 perfect for that, because that's also another  
15 initiative by our office, is to assure quality of our  
16 documents to get as good a peer review as we can, so  
17 if we could maybe work out some protocol here about  
18 who would be the person, as opposed to sending it out  
19 to the entire industry. I don't know if that would be  
20 the best solution or not, so we can work that.

21 CHAIR APOSTOLAKIS: You can work out these  
22 things.

23 MEMBER BONACA: I'm disappointed to hear  
24 about Oconee withdrawing the application.

25 MR. MARION: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER BONACA: I didn't know that.

2 MR. MARION: Yes, just a decision they  
3 made about two weeks ago or so. I don't know. Tony  
4 Harris probably knows -- obviously, knows more about  
5 it than I. Are they going to reconsider submitting  
6 it, or can someone --

7 MR. HARRIS: No. This is Tony Harris with  
8 NEI. I was at the last meeting with the staff, and I  
9 think, Bill, you were there, too. Duke was  
10 contemplating at that time whether or not they would  
11 withdraw. I know they are -- I can't fully speak for  
12 them. I do know they are working out the plan under  
13 which they would resubmit the application, but they  
14 have sent in a withdrawal letter.

15 MEMBER BONACA: I think to have on the  
16 table an application, it will be very useful, I think,  
17 for progress, I mean, on this plan, because it'll be  
18 ideas, and the perspectives I think that, hopefully  
19 there is -- somebody else will do that.

20 MR. HICKEL: Mario, or George and Mario,  
21 there have been a number of people that were  
22 contemplating digital upgrades to protection and ESFAS  
23 logic, and there were announcements I think that jobs  
24 were sold. And then subsequently they seemed to have  
25 gotten off track. Is there any input from NEI, is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this being caused by lack of guidance, or what is the  
2 cause that these things are kind of falling by the  
3 wayside? Is it complexity?

4 MR. HARRIS: This is Tony Harris with NEI,  
5 again. We did meet with the NRC staff. We had an  
6 EPRI/NEI co-sponsored workshop in March, and we  
7 started looking through it, because you're exactly  
8 right; there are a lot of folks. And the concern with  
9 the industry is the length of time on some reviews -  
10 now whether it's caused by issues on our end in terms  
11 of quality, or some of the issues that you see in  
12 terms of unresolved technical issues, some of these  
13 things that take a long time. The process itself does  
14 take a long time, and it may be that it will take some  
15 period of time, but folks are very concerned about the  
16 length of time, and the uncertainty in licensing these  
17 digital application in RPS and ESFAS.

18 Now to that end, from an industry  
19 perspective, we have developed a working group.  
20 That's the next highest level you can have at NEI from  
21 an industry perspective, and headed by a Vice  
22 President of Engineering Technical Services, Amir  
23 Sharkarami at Exelon. And we look forward to working  
24 with the staff on moving forward all these various  
25 issues. We identified I think it was five priority

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 issues, one of which was research with the staff at  
2 that March workshop, so we want to take that list and  
3 start knocking it off and move forward, because there  
4 are a lot of folks out there that would like to move  
5 forward with digital applications, RPS and ESFAS.  
6 Most of them say that I'll move forward right now to  
7 the extent possible with the controlling sides, with  
8 the non-safety related sides and the controlling  
9 sides. And wait until things get a little more  
10 stabilized in the regulatory front until we know more  
11 of what we really have to do. What do we really have  
12 to do to have a quality submittal, and have a good  
13 timeliness in that application, but we're going to  
14 work on that with the staff.

15 CHAIR APOSTOLAKIS: Good. Thank you. Any  
16 other comments?

17 MR. KEMPER: Yes. And just to reinforce,  
18 just give of a good segue way, we're listening and  
19 taking serious exactly what the industry is telling  
20 us. I just received a user need to accelerate  
21 research in the area of diversity and defense-in-  
22 depth, and also advanced control room design issues,  
23 which is primarily prompted from that meeting that  
24 Tony just spoke to a couple of months ago.

25 CHAIR APOSTOLAKIS: Very good. Thank you,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Alex. Let's close by going around the table and see  
2 what impression people got today. You want to start,  
3 Tom.

4 MEMBER KRESS: Sure. Well, I believe I  
5 saw a lot of progress since our last meeting. And I  
6 think the program is on the right track. Early on I  
7 was very skeptical that we could ever develop software  
8 reliability failure rates, but now I'm more hopeful.  
9 I think I see progress in this area. I'd like to  
10 second your comment, George, that it would be nice to  
11 have some early on judgments as to which systems  
12 actually need to be modeled, and what process one  
13 would use to model those particular ones. And I think  
14 risk-importance measures would be very useful there.  
15 No use to waste time on things that are not really  
16 risk-significant. And even though we don't have  
17 failure rates, I think you have to develop risk-  
18 importance measures for systems.

19 One area that kind of bothered me a little  
20 is when testing revealed no failures over a range of  
21 coverage, I think there should be a statistical  
22 technique to estimate the probability of having a  
23 given number of failures, and that has to depend on  
24 the amount of the degree of coverage, so I thought  
25 that needed a little more work.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I was a little skeptical of having the  
2 ability to incorporate time-dependent failure rates  
3 into PRAs. I think we need to figure out how to work  
4 around that, or avoid it. That sounds like a real  
5 problem to me. At some point in our subcommittee  
6 meetings, I'd like to have a more detailed discussion  
7 on how the lambdas are developed from the 1 minus Cs.  
8 I'm not sure how that's done.

9 I appreciated the industry's comment that  
10 failures per demand would be more interesting than  
11 failures per hours of operation. I think that's an  
12 area that needs to be thought about. I don't know, it  
13 seems to me that replacing analogs with digital almost  
14 automatically decreases risk. I don't know if we could  
15 make such a blanket determination or not, but that's  
16 just a thought.

17 I would like to support, add my support to  
18 the industry's comments that on several areas. One,  
19 re-evaluating what we mean by defense-in-depth in  
20 digital INC areas. And I really like Alex Marion's  
21 suggestions on the industry peer review, and  
22 cooperative research. I'm glad to hear that that looks  
23 like a possibility.

24 Eventually, I think we'll need to have  
25 reviews of digital INC installations in new plants,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 which may not be LWRs, and I don't think the  
2 acceptance criteria will be the same as are in Reg  
3 Guide 1.174, and I think somewhere along - I don't  
4 know if these guy's role to do that now, but somewhere  
5 along the line, we'll have to think about how to deal  
6 with them in the newer plants.

7 All in all, I see lots of progress. I'm  
8 hopeful that this -- to me, clearly there's a need to  
9 incorporate digital INC reliability into the PRAs, so  
10 I'm glad to see this work.

11 CHAIR APOSTOLAKIS: Thank you. Mario.

12 MEMBER BONACA: Yes. I voice most of the  
13 comments that Tom made. I mean, I see a lot of  
14 progress. And, in fact, more than I thought we would  
15 see by this stage. The area of determination of which  
16 digital system need to be modeled and what level of  
17 detail, that's an area, of course, of interest to all  
18 of us. But I think it's also important because it  
19 will define somewhat where you need to have dynamic  
20 modeling, and where you can stay with traditional  
21 methods.

22 I would be responsive to Mr. Gaertner's  
23 recommendation of not forcing incorporation of digital  
24 INC modeling in PRA. I mean, there may be other ways  
25 to do that. I would view the approach the NRC is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 choosing as one that they are choosing for their own  
2 independent validation and verification, but it is not  
3 the only way to go about that. And really, I believe  
4 there should be collaboration with industry very much  
5 at this stage. I think a collaborative effort can  
6 only be helpful.

7 I still believe there is a lot of  
8 technology out there available, at least some of it we  
9 saw ourselves when we went to Germany, and so there is  
10 a lot of experience that can be brought to bear, and  
11 from which we can really derive benefit, both from a  
12 regulatory standpoint, and from an industry  
13 standpoint.

14 Regarding Reg Guide 1.174, I mean, I'm --  
15 I can see as work in progress so, of course, all of  
16 us have high expectations of that reg guide, because  
17 we are all supporting risk-informed regulation in this  
18 area, too. So that's pretty much my comments.

19 CHAIR APOSTOLAKIS: John.

20 MR. HICKEL: Well, this was my first foray  
21 into what your subcommittee had been doing, and I did  
22 appreciate the two letters I think you've shown me  
23 what they have done in the past. So I guess my  
24 perspective is really of maybe just a fresh set of  
25 eyes looking at what you've been doing already.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           My immediate thoughts are that needs to be  
2           a more focused prioritization of where the staff is  
3           trying to develop modeling, and analysis capability.  
4           I don't know why the focus was on digital feedwater  
5           control systems. I would hope that there is some  
6           opportunity to get from the people in NRR that are  
7           maybe the users of the research efforts and the reg  
8           guides, like a picture, in the next six months we're  
9           going to have to review this, in the next two years  
10          we're going to have to review that, and five years out  
11          we've got advanced reactors, or evolutionary plants  
12          where we're going to have to take a position.

13                 I would think that there is a need to have  
14          more ability to project and evaluate trip systems and  
15          ESFAS logic systems than was discussed here today. I  
16          think that's my first comment. My second comment is  
17          that I think that the data mining efforts that are  
18          going on right now on the Brookhaven research project,  
19          they appear to be more evolutionary. There's clearly  
20          a lot more data out there. I think there are better  
21          ways of getting it, but I think one of the things that  
22          I see that's out there is issues of configuration  
23          control afterwards, because these are the failures  
24          that clearly are occurring. Somebody gets a bad data  
25          set and they put it into all channels of the trip

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 system, and that's not digital. You can do the same  
2 darned thing in an analog, an old analog system, but  
3 it's out there, and trying to understand those kind of  
4 controls, I don't think we're focusing on that.

5 There is a lot of experience that people  
6 have done that. There's a lot of experience out there  
7 from the LER system that there have been problems in  
8 calibration that result in people putting the wrong  
9 numbers into all channels, and they're assisted and  
10 guided by computer programs that are doing that for  
11 them.

12 Those kind of things are happening. This  
13 is not a highly complicated software reliability  
14 issue. This is just that people are following  
15 procedures, and on some occasions don't follow the  
16 procedures, and they put in wrong numbers into  
17 everything. And that issue is probably more likely to  
18 occur than some very highly unusual common cause  
19 hidden software failure. I'm thinking that the LER  
20 database can give you better estimates of that thing  
21 versus some unknown, undetected common cause failure  
22 of software.

23 I think the numbers can be extracted, and  
24 I do believe they will help better focus the efforts  
25 towards coming up with regulatory guidance that will

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 be traceable back to history, and numbers, and be  
2 better focused. And I think those are the two main  
3 comments I'd have.

4 CHAIR APOSTOLAKIS: Okay. Thank you. I  
5 think I was pretty vocal all day. I still -- I just  
6 want to repeat that this issue of transition rates is  
7 something that I really have to understand better,  
8 what is the basis, and what do they really mean. And  
9 I think we're making a lot of progress, as I said  
10 earlier. Now we're discussing context, we're getting  
11 into it more deeply, what does it mean, and all that,  
12 and I'm confident we'll get some good answers soon.  
13 The issue of zero failures, I mean, we're fixing them  
14 all the time, and this paper, by the way, that was  
15 cited in the report from the IEEE transitions, was a  
16 pretty powerful mathematical analysis of what you do  
17 in those cases. I'm not saying we should do that, the  
18 mathematics is there.

19 So I'm very pleased myself with the  
20 progress that has been made, and I'm also happy that  
21 you guys are so willing to come and talk to us about  
22 things that are still evolving, but that's the whole  
23 idea of these meetings. We've tried it with 1.174  
24 several years ago, it was pretty successful, so we're  
25 doing this now. And I also am very pleased that the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 industry decided to come and voice their concerns and  
2 ideas, because this is really what will lead us to  
3 something useful eventually. So with that, unless  
4 somebody has something to say, from the staff, the  
5 public? Thank you all very much. This meeting is  
6 adjourned.

7 (Whereupon, the proceedings went off the  
8 record at 5:16:33 p.m.)

9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25