

Official Transcript of Proceedings  
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor  
Safeguards Meeting

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Friday, December 15, 2006

Work Order No.: NRC-1373 Pages 1-165

**NEAL R. GROSS AND CO., INC.**  
Court Reporters and Transcribers  
1323 Rhode Island Avenue, N.W.  
Washington, D.C. 20005  
(202) 234-4433

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA

+ + + + +

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS (ACRS)

+ + + + +

MEETING

+ + + + +

FRIDAY,

DECEMBER 15, 2006

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Advisory Committee met at 8:30 a.m. in Room T-2B1 of the U.S. Nuclear Regulatory Commission, One White Flint North, 11555 Rockville Pike, Rockville, Maryland, Dr. George E. Apostolakis, Chairman, presiding.

MEMBERS PRESENT:

- GEORGE E. APOSTOLAKIS Chairman
- WILLIAM J. SHACK Vice Chairman
- SAID ABDEL-KHALIK Member
- MARIO V. BONACA Member
- MICHAEL CORRADINI Member
- THOMAS KRESS Member

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MEMBERS PRESENT (CONTINUED):

OTTO L. MAYNARD Member

JOHN D. SIEBER Member

GRAHAM WALLIS Member

ACRS STAFF PRESENT:

ERIC A. THORNBURRY

1	<u>AGENDA ITEMS</u>	3
2	Completion of ESBWR Presentations	5
3	Key Issues in Staff RAIs	111
4	Closing discussions	157
5	Adjourn	165
6		
7		
8		
9		
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

## P R O C E E D I N G S

(8:31 a.m.)

CHAIRMAN APOSTOLAKIS: The meeting will now come to order. This is the second day of the meeting of the Advisory Committee on Reactor Safeguard subcommittee, Probabilistic Risk Assessment. I'm George Apostolakis, Chairman of the subcommittee.

Members in attendance are Said Abdel-Khalik, Mario Bonaca, Michael Corradini, Tom Kress, Otto Maynard, Bill Shack, Jack Sieber, and Graham Wallis. Eric Thornsburry is the Designated Federal Official for this meeting.

The rules for participation in today's meeting have been announced as part of the notice of this meeting previously published in the Federal Register on December 4th, 2006.

A transcript of the meeting is being kept and will be made available as stated in the Federal Register notice. It is requested that speakers first identify themselves and speak with sufficient clarity and volume so that they can be readily heard.

Today we plan to finish the presentations from General Electric then hear from the staff regarding any particular areas of interest that they have identified in their requests for additional

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 information.

2 We will now continue with the meeting and  
3 I call upon Mr. Rick Wachowiak -- say it?

4 MR. WACHOWIAK: Wachowiak.

5 CHAIRMAN APOSTOLAKIS: Get a Greek for  
6 heaven's sake.

7 (Laughter.)

8 CHAIRMAN APOSTOLAKIS: From GE to begin  
9 today's presentations.

10 MR. WACHOWIAK: All right.

11 So we are going to continue with the  
12 presentation that we had yesterday. I've talked with  
13 Tom KeVERN of the NRC staff. And we coordinated our  
14 time. So I've got about an hour and a half of time to  
15 cover the material. Some of it we talked about in  
16 other conversations already yesterday so when we get  
17 to things that we have already talked about, I'll move  
18 it along.

19 So the first part of this morning's  
20 presentation will be about some modeling issues in our  
21 PRA that either the staff have questioned or we've  
22 heard in previous meetings with the ACRS subcommittee.  
23 Three of them that I want to talk about here are  
24 common cause failure methods, treatment of data for  
25 components with long test intervals, and then discuss

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 our strategy for addressing thermo-hydraulic  
2 uncertainties.

3 In the PRA, Revisions 0 and 1, we used the  
4 alpha factor method for doing common cause. We had  
5 some difficulty with that on our end also. Number  
6 one, that when we had to do the uncertainty analysis,  
7 the numerical uncertainty, at least, we had some  
8 difficulties getting the computer code to do it  
9 properly when we had that method.

10 Also, some of our sensitivity analyses  
11 that we did we had to go into some manual manipulation  
12 of the model to make that work. And it proved to be  
13 difficult.

14 What we are doing in Revision 2 is using  
15 the multiple Greek letter method as is supported in  
16 the CAFTA software package and so we can directly do  
17 our other analyses without a lot of manual  
18 manipulation of the terms in the model.

19 We've also decided that for the purposes  
20 of the design certification model, we are going to  
21 limit the order in the MGL to just beta, gamma, and  
22 delta where we have through delta. And every other  
23 letter would be considered to be one after that. So  
24 it is like a two, three, all-type model.

25 CHAIRMAN APOSTOLAKIS: Even with delta and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 gamma, you don't gain much as I recall. I mean the  
2 numbers are very close to one.

3 MR. WACHOWIAK: Yes.

4 CHAIRMAN APOSTOLAKIS: Are you using the  
5 generic numbers or distributions?

6 MR. WACHOWIAK: The URD has some factors  
7 for specific types of components. And then there is  
8 a generic unknown component. We're going to start  
9 with that set of data. And for other things, what we  
10 found is that a lot of things fall into the unknown  
11 category from the URD.

12 CHAIRMAN APOSTOLAKIS: Unknown means what  
13 in this case?

14 MR. WACHOWIAK: It means they didn't  
15 collect data for those. It was a component that they  
16 didn't have factors for at the time that that document  
17 was written. And it is a fairly old document.

18 CHAIRMAN APOSTOLAKIS: Well, there are NRC  
19 documents that are much more recent as you know.

20 MR. WACHOWIAK: And that's correct. We  
21 are going to see if we can pick up information from  
22 the newer sources like the INEL database and see what  
23 is applicable for these.

24 CHAIRMAN APOSTOLAKIS: I'm wondering how  
25 your designers react to the values that are given.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I'm working with some designers up at MIT and they  
2 were very frustrated when I tell them, you know, the  
3 beta factor is about .1. And then the guy says well,  
4 tell me what to do to reduce it. And I say I don't  
5 know. I mean it is a generic number.

6 And they would go down to .05 or something  
7 but the problem there is that there is no clear one-  
8 to-one correspondence between what you do to the  
9 design and the numbers you are supposed to use. They  
10 are essentially fudge factors.

11 So to argue that I increased the  
12 separation therefore beta goes down by a factor of  
13 six, for example, is very, very hard. So I'm  
14 wondering whether you have similar problems.

15 MR. WACHOWIAK: Yes.

16 CHAIRMAN APOSTOLAKIS: Okay.

17 MR. WACHOWIAK: The designers tend to, as  
18 is probably in your experience, they tend to think  
19 that the common cause failures are all eliminated by  
20 a robust design.

21 CHAIRMAN APOSTOLAKIS: Yes.

22 MR. WACHOWIAK: And they can be but they  
23 don't --

24 CHAIRMAN APOSTOLAKIS: And they are  
25 willing to listen --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. WACHOWIAK: Right.

2 CHAIRMAN APOSTOLAKIS: -- but they want  
3 also some advice. I mean tell me what to do and I'll  
4 do it and reduce the number.

5 MEMBER WALLIS: You see a design error  
6 which would make your number much bigger than .1.

7 MEMBER CORRADINI: You could.

8 MEMBER WALLIS: You don't know. So it is  
9 a very uncertain process isn't it?

10 CHAIRMAN APOSTOLAKIS: In the external  
11 event area, that is particularly true because these  
12 design errors will reveal themselves when you have the  
13 event. But still, I mean, that is an issue that is  
14 difficult to handle.

15 MR. WACHOWIAK: Especially at this stage  
16 it is difficult to handle.

17 CHAIRMAN APOSTOLAKIS: Exactly unless you  
18 clearly have, you know, separation and physical  
19 barriers all that, it is so hard to argue.

20 MR. WACHOWIAK: And some of the other  
21 things that we are taking into consideration is the  
22 operating environment. If you have the same component  
23 that is operated in a completely different way than  
24 another one, then that would tend to reduce the  
25 values. So we are looking at that also.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: Especially, you  
2 know, in your case where in many instances you deal  
3 with seven out of eight or a very large number. A low  
4 number for the total common cause failure frequency  
5 would be justified but it would be hard to justify.

6 MR. WACHOWIAK: Yes. And in the case of  
7 the squibs, as we saw, each of the eight valves has  
8 four on there so seven out -- well, it would be large  
9 number out of 32 that would have to fail to get there.

10 CHAIRMAN APOSTOLAKIS: It seems to me the  
11 alpha factor method should be called the single Greek  
12 letter method. And then you go to the multiple Greek  
13 letters.

14 (Laughter.)

15 CHAIRMAN APOSTOLAKIS: The mean time to  
16 laughter is about five seconds.

17 (Laughter.)

18 MEMBER WALLIS: Do you want any more jokes  
19 about this one?

20 CHAIRMAN APOSTOLAKIS: No.

21 MEMBER WALLIS: Okay.

22 MR. WACHOWIAK: The release of CAFTA that  
23 we are using includes a common cause tool. We select  
24 the method that we want to use. We put the factors  
25 in. And then the code does the tedious work of doing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 all the right expansions and putting them in the right  
2 way in the model. That way if we want to change  
3 success criteria or something else, we have less  
4 chance of human error on the PRA side and getting  
5 things right. It enforces the standards, if you will.

6 I've got a couple of example things here  
7 that we will go through quickly but basically what you  
8 do is you define your common cause group, you define  
9 the parameters in the model, you tell the code to  
10 create the logic. You can also tell the code to  
11 remove the logic so when you are changing things, you  
12 can bring it in or take it out.

13 Don't necessarily need to talk about all  
14 of the specifics but this is part of define. You go  
15 into the database and define it. You input the  
16 parameters.

17 CHAIRMAN APOSTOLAKIS: So you are limiting  
18 yourself also to similar components in the same  
19 system. Do you consider common cause failure of all  
20 squib valves? That would be --

21 MR. WACHOWIAK: That was one of the terms  
22 that we considered. Because the different squib  
23 valves for the different systems we talked about  
24 yesterday, the GDCS, ADS, and the equalizing lines,  
25 and deluge lines, they are really different types of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 valves we are probably going to get from different  
2 places so we will have to look at that. But I don't  
3 think that we would have a common cause of all the  
4 squib valves if they were different types of valves.

5 But if we had the same valve in two  
6 systems that really are in the same application, they  
7 are in the same environment, they get the same  
8 maintenance, then we would have to consider that for  
9 part of the common cause group.

10 CHAIRMAN APOSTOLAKIS: But in the current  
11 PRA, how do you do it?

12 MR. WACHOWIAK: I think we made the case  
13 that the design of the different types of valves are  
14 sufficiently different that we wouldn't need to keep  
15 them in the same group.

16 MEMBER WALLIS: In the case of the DPV, we  
17 told you about this yesterday, the load drivers for  
18 the DPV I think when you analyze that, you have a  
19 common cause of .1 for all of them failing together as  
20 I understand it because this is one of your large  
21 release events. I was a little puzzled by that.

22 CHAIRMAN APOSTOLAKIS: So it goes across  
23 systems you mean?

24 MEMBER WALLIS: All systems, everything  
25 failed.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. WACHOWIAK: Right. Now the load  
2 drivers are --

3 MEMBER WALLIS: Are a probability of .1.

4 CHAIRMAN APOSTOLAKIS: That's pretty high.

5 MR. WACHOWIAK: The load drivers aren't  
6 actually in the individual systems. They would be  
7 contained in the I&C system.

8 MEMBER WALLIS: Right.

9 MR. WACHOWIAK: And so they are all in  
10 cabinets in the reactor building in the same  
11 environment, in the same type of operating conditions.  
12 So that as the first cut, we considered those all part  
13 of the same thing.

14 MEMBER WALLIS: And so it was either one  
15 or all? It is either one with a probability of ten to  
16 the minus six or all with a probability of ten to the  
17 minus seven.

18 MR. WACHOWIAK: That's right.

19 MEMBER WALLIS: That's -- it just seemed  
20 to be a little shaky that you have to make some guess.

21 CHAIRMAN APOSTOLAKIS: Are you disputing  
22 the .1?

23 MEMBER WALLIS: For this particular set,  
24 you decided to be conservative apparently. But still  
25 the .1 comes from the air. Release .1, that is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 wonderful.

2 MR. WACHOWIAK: It comes from --

3 CHAIRMAN APOSTOLAKIS: No, the .1 doesn't  
4 come from the air.

5 MEMBER WALLIS: Well --

6 CHAIRMAN APOSTOLAKIS: There is strong  
7 evidence that about ten percent --

8 MEMBER WALLIS: Is about right for  
9 everything?

10 CHAIRMAN APOSTOLAKIS: -- of individual  
11 failures is a common cause. If you look at a thousand  
12 component failures, then about ten percent of those  
13 involved a failure of an additional component.

14 MEMBER WALLIS: Okay. And this --

15 CHAIRMAN APOSTOLAKIS: So there is some --

16 MEMBER WALLIS: So he is being very  
17 conservative --

18 CHAIRMAN APOSTOLAKIS: They are very  
19 conservative.

20 MEMBER WALLIS: -- when he leaps from one  
21 failing to all failing.

22 CHAIRMAN APOSTOLAKIS: That is right.

23 MEMBER WALLIS: Okay.

24 MR. WACHOWIAK: And in Revision 2 for the  
25 load drivers, we probably will not do that. We will

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 probably do one, two, three, and then all.

2 MEMBER WALLIS: In which case you have a  
3 much lower probability of this.

4 CHAIRMAN APOSTOLAKIS: It is not much  
5 lower. That was my point --

6 MR. WACHOWIAK: It is not much lower.

7 CHAIRMAN APOSTOLAKIS: -- earlier. I mean  
8 gamma is usually .7 or something. So --

9 MEMBER WALLIS: It is .1 here.

10 MR. WACHOWIAK: This is an example of the  
11 database or of the method. It is not actual data.

12 MEMBER WALLIS: I see. Well, I thought  
13 this was just your baseline assumption that everything  
14 is .1.

15 MR. WACHOWIAK: No. The baseline  
16 assumption will be the generic alpha, beta, or beta,  
17 gamma, delta in the URD. That would be the base  
18 assumption. And I think --

19 CHAIRMAN APOSTOLAKIS: But why the URD,  
20 Rick? I mean these are more recent than NRC reports?  
21 Very detailed? Using data --

22 VICE CHAIRMAN SHACK: I think it is nice  
23 to have everybody use the URD data then it highlights  
24 the differences between the designs and, you know, you  
25 don't argue over whether the difference between the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 two is due to the assumptions they make.

2 So I would like to see one base case where  
3 everybody uses the same data even if it might not be  
4 the best data. Then, you know, if you want to go to  
5 a more realistic case, that is a different question.  
6 But I think it is kind of good to highlight the  
7 differences that are inherent in the design by using  
8 a common data.

9 CHAIRMAN APOSTOLAKIS: Why? Do the  
10 regulations say I have to worry about how this design  
11 compares to another?

12 MR. WACHOWIAK: Well, from the utilities  
13 point of view when I was a customer --

14 CHAIRMAN APOSTOLAKIS: But we are not.

15 MR. WACHOWIAK: Well --

16 CHAIRMAN APOSTOLAKIS: It seems to me we  
17 have to use the --

18 MEMBER KRESS: Even as a way we can  
19 compare one design to another, it puts them in  
20 perspective at least, you know, whether it is a  
21 requirement or not.

22 CHAIRMAN APOSTOLAKIS: This document is so  
23 old. When was it published?

24 MEMBER KRESS: 1992 or something.

25 CHAIRMAN APOSTOLAKIS: Even before that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: It was before that.

2 CHAIRMAN APOSTOLAKIS: Before, yes. I  
3 mean there has been a lot of progress and so on.

4 MEMBER KRESS: Maybe there ought to be an  
5 updated set of standards but I like Bill's concept.  
6 It would be nice for everybody to use the same ones.

7 VICE CHAIRMAN SHACK: Yes, I mean you  
8 don't use it -- you know you do it and then you go on  
9 to what you think is your best estimate and your  
10 sensitivity analysis. But just as a case, I think it  
11 is an interesting one.

12 CHAIRMAN APOSTOLAKIS: Well, if you are  
13 asking for it in addition, then I can object. I think  
14 it is a waste. It really is a waste. I've never  
15 heard anybody on this committee compare a design with  
16 something else -- with some other --

17 VICE CHAIRMAN SHACK: Yes, I know, but  
18 when I'm looking at designs, I'd like to know how much  
19 of the difference is due to, you know, when you look  
20 at an IPE, you know, we know that the IPE results were  
21 frequently driven by data assumptions of which were  
22 very difficult to justify.

23 I mean we are having this discussion here.  
24 I mean whatever number he comes up with --

25 CHAIRMAN APOSTOLAKIS: Yes, but if it is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 an addition, it is an addition.

2 MEMBER SIEBER: So it is the only true way  
3 to compare designs is to use a common data set.

4 CHAIRMAN APOSTOLAKIS: And I repeat. Our  
5 job here is not to compare designs. We are comparing  
6 to the Commission's goals. So what if this, for  
7 example, what would that tell you if for the ESBWR,  
8 the core damage frequency was three times that of the  
9 AP1000. So what? They are both very low. They are  
10 both below the goal. They both eventually will meet  
11 the Commission's regulations.

12 Anyway, I mean if it is an addition, why  
13 should I object?

14 VICE CHAIRMAN SHACK: Right. Why should  
15 you object?

16 CHAIRMAN APOSTOLAKIS: Rick should be  
17 objecting.

18 (Laughter.)

19 MR. WACHOWIAK: Yes, and once again, that  
20 is why we are going to look into the newer sources  
21 because in the URD, the base data set for failure  
22 rates of components is a fairly complete set. When  
23 you move into the common cause parameters, it is not  
24 as complete of a set. So rather than using unknown  
25 for all sorts of things, we want to see what we can

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 find that is out there.

2 This was an example here. The numbers  
3 don't mean anything other than to show that we have  
4 three different possibilities. The code can't  
5 actually calculate alpha factors if we wanted to. But  
6 it does do the multiple Greek letter in two different  
7 ways. This would be a static. The computer tells it  
8 how to do the expansion. And then if we want to do  
9 anything with data or anything later, then we would  
10 have to manually redo that.

11 The other method that has been added now  
12 --

13 MEMBER WALLIS: Let's look at that  
14 previous slide. The probability of all events is  
15 bigger than the probability of three events?

16 CHAIRMAN APOSTOLAKIS: The previous slide?  
17 Where are you, Graham?

18 MEMBER WALLIS: I'm at the probability of  
19 all the events is bigger than the probability of three  
20 of events?

21 MR. WACHOWIAK: It can't happen.

22 MEMBER WALLIS: It can't happen?

23 CHAIRMAN APOSTOLAKIS: I don't understand  
24 what that means.

25 MEMBER WALLIS: Well all events,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 presumably, is a whole slew of events, bigger than  
2 three. A large number of events. What does the  
3 probability of all events mean here?

4 CHAIRMAN APOSTOLAKIS: That doesn't make  
5 sense.

6 MEMBER WALLIS: That doesn't make sense.  
7 It has got to be smaller than the probability of  
8 three.

9 MR. WACHOWIAK: The probability of exactly  
10 three --

11 MEMBER WALLIS: Exactly three?

12 MR. WACHOWIAK: -- and it could be any of  
13 this group of three, or this group of three, or this  
14 group of three. So you would have to take how many  
15 components are actually in there and multiply that by  
16 the number of combinations to get the whole.

17 MEMBER WALLIS: Presumably all events is  
18 everything fails.

19 CHAIRMAN APOSTOLAKIS: Yes, I don't think  
20 that is --

21 MEMBER WALLIS: How many are there in this  
22 all event?

23 MR. WACHOWIAK: In this example, I think  
24 there were --

25 MEMBER WALLIS: Something looks strange.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 It looks like two and a half events or something.

2 MR. WACHOWIAK: I think there are eight  
3 components in this.

4 MEMBER WALLIS: It doesn't make sense.  
5 Eight components failing is more probable than three?

6 CHAIRMAN APOSTOLAKIS: No, it can't be.  
7 And if you look at this -- the probability of all  
8 events is the total probability times ten to the minus  
9 three. Right? The total probability -- which means  
10 the total probability of failure of an individual  
11 component. That is what the definition is. And then  
12 you multiply that by ten to the minus three. And you  
13 get the probability of all events failing.

14 MR. WACHOWIAK: And that is only because  
15 this alpha, beta, and gamma are all set to one -- or  
16 beta, gamma, and delta are all set to .1.

17 CHAIRMAN APOSTOLAKIS: Oh. Okay.

18 MEMBER WALLIS: But the answer doesn't  
19 make sense. We should move on. But it just --  
20 whatever your betas and gammas may be --

21 MR. WACHOWIAK: These -- I would not  
22 expect to see that group of beta, gamma, and delta  
23 from an actual failure.

24 CHAIRMAN APOSTOLAKIS: If beta is .1 --

25 MR. WACHOWIAK: Right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: -- why is the  
2 probability of two events 1.25 ten to the minus six?  
3 I don't understand that.

4 MEMBER WALLIS: Something is really  
5 strange.

6 CHAIRMAN APOSTOLAKIS: What is the system  
7 here? The system is one out of three? Or what?

8 MEMBER WALLIS: Or eight events. It is  
9 two out of eight or something.

10 CHAIRMAN APOSTOLAKIS: Where are the eight  
11 events?

12 MEMBER WALLIS: Well, he just said -- he  
13 said there were eight.

14 MR. WACHOWIAK: There were eight? I don't  
15 have the slide that shows the total. Oh, the basic  
16 events are down in here. So looking at how much gap  
17 there is on that, it looks like there are eight.

18 MEMBER WALLIS: You have to scroll down.  
19 There are eight. So it's two out of eight.

20 MR. WACHOWIAK: And it looks like --

21 MEMBER WALLIS: Any two out of eight.

22 MR. WACHOWIAK: So this would be any two  
23 out of eight.

24 CHAIRMAN APOSTOLAKIS: Exactly two.

25 MR. WACHOWIAK: Exactly two.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: Well, the last one would  
2 be all of them at the same time? All eight?

3 MR. WACHOWIAK: All eight.

4 MEMBER WALLIS: Well, okay. Something  
5 isn't right. You're going to fix it. They're going  
6 to fix it.

7 MR. WACHOWIAK: Okay.

8 CHAIRMAN APOSTOLAKIS: It is an example.

9 MEMBER WALLIS: Yes, but it is, you know,  
10 an example --

11 MR. WACHOWIAK: These aren't even  
12 necessarily real components.

13 MEMBER WALLIS: It is a good way of  
14 checking the method isn't it? Okay, let's move on  
15 then.

16 MR. WACHOWIAK: Okay. The other way is to  
17 put it into the type code database. That's a term for  
18 the repository of all the different failure rates and  
19 information about the components in our database.  
20 Basically you would add the alpha, beta, gamma -- or  
21 -- I keep starting at the wrong letter -- beta, gamma,  
22 delta into the database. And then what this allows is  
23 when we do the uncertainty calculations, it allows for  
24 uncertainty on beta, gamma, and delta.

25 And we are looking at how we want to treat

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this if that is going to be an important thing to do  
2 or if it will just add more confusion. So that is a  
3 choice we still have to make yet.

4 This goes -- just demonstrates the  
5 expansion so that it is adding all these terms into  
6 the model. And then in the results --

7 MEMBER WALLIS: These are too small for  
8 two and three.

9 MR. WACHOWIAK: -- it looks like it was a  
10 two out of a second order failure. So it was an and  
11 of two. See the cut sets that do generate are the two  
12 order.

13 What the code then tries -- when it names  
14 these, it tries to come up with a name that can be  
15 related back to the components. Since our component  
16 naming was not understandable by the computer, it just  
17 numbered them one through whatever.

18 Okay, so that is what we are going to do  
19 in this next round.

20 CHAIRMAN APOSTOLAKIS: But you don't  
21 really expect significant change in the results.

22 MR. WACHOWIAK: Not a significant change.

23 CHAIRMAN APOSTOLAKIS: Because they are  
24 fairly consistent I think.

25 MR. WACHOWIAK: They should be fairly

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 consistent. That's right. And I think it will make  
2 it --

3 CHAIRMAN APOSTOLAKIS: They are consistent  
4 in the INEL report. When you go back to the  
5 requirements document, I don't know because these were  
6 generic numbers.

7 MR. WACHOWIAK: Right. So we think that  
8 it will also be more -- we can make it so it is easier  
9 to explain each individual event, okay?

10 So the next thing that I want to talk  
11 about was a question that came up about failure rates  
12 and how we changed some failure rates in our database.  
13 And the methods we employed.

14 The basic assumption was that the demand  
15 data that is in the URD was based on equipment that  
16 was typically tested on a quarterly basis. We've got  
17 things in ESBWR that are not tested on a quarterly  
18 basis. In some cases, our plan for testing is much  
19 longer than quarterly, especially things that are  
20 inside the containment like squib valves.

21 We have three methods that we used in the  
22 document. And it turns out only two of those three  
23 were used and the more controversial of the three is  
24 the one that wasn't used. So three cases.

25 The first case, the test interval was six

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 months or less. We just used the value that was in  
2 the URD.

3 The second case was six months to a year  
4 where we wanted to have some increase but we were  
5 uncertain as to how much of an increase. What we did  
6 was we just picked the 95th percentile of the generic  
7 failure probability. It turns out though even though  
8 we described that, there were no components that we  
9 had in the model that fell into this category.

10 And then the third one is basically what  
11 has been done for evaluating longer test intervals in  
12 risk-informed testing. Basically we would take the  
13 demand failure probability, convert it back to a  
14 failure rate assuming a quarterly test, change the  
15 duration of the test, and then recalculate the  
16 unavailability due to the failure rate and repair.

17 CHAIRMAN APOSTOLAKIS: Which one did you  
18 use? Two of them you said?

19 MR. WACHOWIAK: We used this one and we  
20 used this one.

21 CHAIRMAN APOSTOLAKIS: What? The numbers  
22 were different or significantly different?

23 MR. WACHOWIAK: Well, this is the one that  
24 was called into question before. And it turns out  
25 that we didn't have any components that were in there.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I don't know that there are any issues with either of  
2 these other methods.

3 CHAIRMAN APOSTOLAKIS: So that means the  
4 numbers were about the same or -- there is no issue  
5 means what?

6 MR. WACHOWIAK: It means that we shouldn't  
7 need to change much based on this. Now there is one  
8 other thing that I do want to say is that it is  
9 possible that the generic data for the squib valves is  
10 not really quarterly data and it is more like an 18-  
11 month data because in nuclear power plants, the squib  
12 valves are usually tested on a cycle basis.

13 So we may not need to increase that demand  
14 failure probability. We are going to look into the  
15 data set and we are going to compare that to other  
16 data that is available now.

17 CHAIRMAN APOSTOLAKIS: When you do an  
18 uncertainty analysis you have to have some  
19 distribution for the failure rate.

20 MR. WACHOWIAK: That is right.

21 CHAIRMAN APOSTOLAKIS: Couldn't you  
22 include this kind of uncertainty regarding the  
23 underlying testing done on its own in that  
24 distribution? Make some broad distribution and say,  
25 you know, we are uncertain about the underlying

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 testing regarding the generic information. We don't  
2 know what is going to happen at the plant.

3 Because that always is an easy way out.  
4 That is why the point estimates are usually more  
5 difficult to defend. Because if you say the number is  
6 ten to the minus three, then you have all sorts of  
7 discussion. But if you say no, it is a distribution  
8 and these are the reasons for that, in my mind it is  
9 easier to defend that.

10 Because when you say continue to use  
11 methods one and three, I mean ultimately you will have  
12 only one number or one distribution you are using.  
13 You are not going to --

14 MR. WACHOWIAK: This is used -- for the  
15 components that match the type one model, we used  
16 type one. For the components that are appropriate for  
17 the type three model, we used type three.

18 CHAIRMAN APOSTOLAKIS: Okay.

19 MR. WACHOWIAK: So we wouldn't be  
20 switching back and forth between them on a single  
21 component. We would just pick the one that is  
22 appropriate for that particular component.

23 CHAIRMAN APOSTOLAKIS: And this is not in  
24 the utility requirements document, is it?

25 MR. WACHOWIAK: No. And that was the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 issue was that the utility requirements document  
2 didn't talk about where the data came from and what  
3 the underlying parameters of that data were based on.  
4 So it was -- this was trying to -- we were trying to  
5 compensate for unknowns in the URD.

6 The next topic is thermo-hydraulic  
7 uncertainty. And I'm sure everybody would like to say  
8 here -- would like me to say here is our answer and we  
9 can move on. But that is really not where are. I  
10 want to talk about what it is that we have and how we  
11 think we are going to resolve this now.

12 First off, we think that the PRA success  
13 criteria that we currently have is bounding. Not  
14 necessarily from saying, you know, you have to have  
15 this many valves or this many flow paths, that sort of  
16 thing. We think that that is correct for the  
17 assumptions that we've made that match the design of  
18 the plant.

19 But what we are calling failure is not  
20 core damage. Almost all of our cases where we  
21 calculate the success criteria, we start out as a  
22 first assumption is if the core is not uncovered, then  
23 there is no core damage.

24 Most of the cases, that is all we consider  
25 is did we uncover the core or not. If the core was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 uncovered, then we just look to see in that particular  
2 case what happened after the core uncovering.

3 MEMBER KRESS: Uncovering means it reaches  
4 the top of active fuel?

5 MR. WACHOWIAK: Top of active fuel. In  
6 all of our success criteria cases, and people can  
7 argue about what code you used and how you did it and  
8 the assumptions you put in, and that is not the  
9 purpose here. The purpose of this particular part of  
10 the discussion, what we did was we looked at it and  
11 said are we challenging the fuel?

12 So most of the success criteria is based  
13 on not uncovering any fuel. In a couple of the cases,  
14 so let's say where we looked at GDCS valves, the  
15 number of GDCS valves required, nearly all the  
16 sequences show no core uncovering with the number of  
17 valves that we picked for the success criteria.

18 I think there is a couple of the cases,  
19 maybe one of the medium LOCAs or something like that  
20 where the top couple of inches of the fuel is  
21 uncovered and then the fuel is recovered quickly and  
22 there is no significant heat up of the fuel.

23 The fuel temperatures that we would be  
24 calling --

25 MEMBER WALLIS: Uncovered in the sense

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that there is a collapsed liquid core in the core or  
2 are there bubbles in it?

3 MR. WACHOWIAK: In our case, it would be  
4 bubbles by the calculations.

5 MEMBER WALLIS: So it is actually dry?  
6 I'm talking about the top few inches being completely  
7 dry and just steam cooled?

8 MR. WACHOWIAK: For a matter of a couple  
9 of --

10 MEMBER WALLIS: But when you are saying  
11 there is no uncovering, you still have -- you could have  
12 a two-phased layer?

13 MEMBER SIEBER: It is still saturated  
14 steam.

15 MEMBER WALLIS: Okay. So this means --

16 MEMBER SIEBER: There is no liquid.

17 MEMBER WALLIS: -- that you have got to  
18 calculate your two-phase layer right.

19 MR. WACHOWIAK: Let me make an analogy to  
20 -- and you are right. And that is why we get into all  
21 these questions is what is the specific temperature of  
22 the fuel right there. But if we look back at the  
23 existing plants, in a large break LOCA, the whole core  
24 is uncovered. And then it is reflooded quickly and  
25 you have heat up that doesn't take the core to core

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 damage.

2 In these cases, the top couple of inches  
3 of the core gets uncovered and then it gets reflooded  
4 quickly. And we don't see with our code any  
5 temperature increase anywhere in the fuel. So if we  
6 can have no core damage with a complete, you know,  
7 almost nearly complete void in the core and then  
8 reflood, a couple inch layer uncovered and then  
9 reflooded should not also be core damage.

10 MEMBER WALLIS: But what is the  
11 uncertainty in this couple of inches? Maybe it is a  
12 couple of feet. I don't know. I don't know anything  
13 about the analysis.

14 MEMBER SIEBER: It could be.

15 CHAIRMAN APOSTOLAKIS: Is that part of the  
16 report you are preparing for the staff?

17 MR. WACHOWIAK: Yes.

18 CHAIRMAN APOSTOLAKIS: This will be  
19 submitted when?

20 MR. WACHOWIAK: What we -- let me get to  
21 the end of these couple of slides and I'll do that  
22 next.

23 CHAIRMAN APOSTOLAKIS: These are best  
24 estimate calculations, right?

25 MR. WACHOWIAK: Best estimate

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 calculations. And --

2 MR. KEVERN: Did you mention what you are  
3 using?

4 MR. WACHOWIAK: And for what we've used so  
5 far, we've used MAAP.

6 MEMBER WALLIS: Okay.

7 MR. WACHOWIAK: We don't have TRACG cases  
8 for anything other than the design basis-type  
9 assumptions which would be one single failure at a  
10 time.

11 MEMBER WALLIS: Isn't TRACG a better tool  
12 than MAAP for this?

13 MEMBER CORRADINI: Not necessarily.

14 MEMBER WALLIS: Well, what would you say?

15 MEMBER CORRADINI: I wouldn't put my money  
16 on it.

17 MEMBER WALLIS: I was asking him that.

18 MEMBER CORRADINI: Sorry.

19 MR. WACHOWIAK: It depends on what you  
20 mean by better.

21 MEMBER WALLIS: Well, if I'm going to make  
22 a safety decision, which one should I rely on?

23 CHAIRMAN APOSTOLAKIS: It depends on what  
24 his is.

25 MR. WACHOWIAK: In order to --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: Be careful. We'll bring  
2 TRACE into the conversation. It is useful to have two  
3 of these tools to compare.

4 MR. WACHOWIAK: It is useful.

5 MEMBER WALLIS: It gives you some idea of  
6 --

7 MR. WACHOWIAK: We will be talking about  
8 that.

9 MEMBER WALLIS: -- uncertainty.

10 MEMBER KRESS: We've never reviewed MAAP  
11 nor is it an approved code.

12 MEMBER WALLIS: Oh, so why should we  
13 believe anything about MAAP?

14 MEMBER KRESS: There is the PRA spec.

15 MR. WACHOWIAK: You don't have to believe  
16 it.

17 CHAIRMAN APOSTOLAKIS: PRA you believe  
18 anything you are told.

19 (Laughter.)

20 MEMBER WALLIS: Or the opposite, George.

21 MEMBER CORRADINI: At least he puts it on  
22 a common basis. All the PRAs we have looked at use  
23 MAAP.

24 CHAIRMAN APOSTOLAKIS: I still don't  
25 understand this common basis business. So we can have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a huge common mode failure where we approve of these  
2 designs and we are completely wrong.

3 MEMBER KRESS: All of them fail at the  
4 same time.

5 CHAIRMAN APOSTOLAKIS: It is an absolute  
6 judgment. It is not comparative. We are not going to  
7 say this is certified because it looks as good as the  
8 other one.

9 MEMBER KRESS: No, you are right.

10 MEMBER WALLIS: It doesn't seem to me it  
11 is very difficult to get TRACG to model. TRACG  
12 already models other events in the ESBWR.

13 MR. WACHOWIAK: Yes.

14 MEMBER WALLIS: So it doesn't seem to be  
15 very difficult to get it to model some of these more  
16 severe events.

17 MEMBER CORRADINI: Can I ask a different  
18 question? I'm sure you guys have done your due  
19 diligence and there is somewhere that there are  
20 benchmark calculations between TRACG and MAAP on some  
21 of these. I can't believe there are not. I've seen  
22 them at conferences where the FAI people do their  
23 darndest to show.

24 So I would assume that it is out there  
25 that you can show comparisons. There are comparisons.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 It is pretty good with these mild transients in terms  
2 of --

3 MEMBER WALLIS: Well, I just need to see  
4 the evidence.

5 MEMBER CORRADINI: Okay. I think that  
6 would be --

7 MEMBER KRESS: Chapter 15 would all be  
8 done better.

9 MEMBER WALLIS: Are we going to see  
10 evidence some day?

11 MR. WACHOWIAK: Yes.

12 CHAIRMAN APOSTOLAKIS: Please do tell us  
13 when.

14 MR. WACHOWIAK: We've done some  
15 comparisons but not for all the scenarios that we are  
16 looking for in the PRA. Well, and that is part of --

17 MEMBER CORRADINI: You are not going to,  
18 right?

19 MR. WACHOWIAK: That is part of the issue.  
20 We can go and we can do a MAAP calculation that is  
21 associated with any branch in all of our entries. And  
22 we can show that we have success where there is  
23 success. It is possible to do those cases in the time  
24 frame available using a tool like MAAP.

25 If we go and we try to do all that same

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 thing with TRACG, then this might be the NP3010  
2 program. So it is a -- what we need to do is we need  
3 to make sure that we can sufficiently trust what the  
4 MAAP code is predicting versus what a more detailed  
5 code would predict.

6 And we've done initial cases where we  
7 looked at transients, how long it takes to boil in the  
8 core, things like that, and matched inventories,  
9 matched some steam flow rates. But the question is  
10 did we do enough to show in this particular case. And  
11 that is what this is trying to address here.

12 But all of that doesn't necessarily  
13 address thermo-hydraulic uncertainty because everyone  
14 says there is still uncertainty even within what TRACG  
15 is doing.

16 MEMBER WALLIS: Are you going to have some  
17 sort of meeting with the thermo-hydraulic subcommittee  
18 where you present some of these cases where you do get  
19 uncovering and you sort of explain why your analysis is  
20 adequate?

21 MEMBER SIEBER: Don't volunteer.

22 MEMBER WALLIS: We could. Maybe we need  
23 to have something like that.

24 MEMBER KRESS: What exactly do you mean by  
25 that last sentence anyway?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. WACHOWIAK: That that is just what we  
2 were talking about the last -- the question that came  
3 from the staff was how do we know that if MAAP shows  
4 that the core isn't being uncovered that some other  
5 code would also show that the core is not being  
6 uncovered? And that is what we have to look at. The  
7 TRACG cases that we have right now, none of them show  
8 that the core is ever uncovered. That is the TRACG  
9 cases.

10 MEMBER CORRADINI: But these are best  
11 estimate calculations where you really haven't looked  
12 at all the uncertainties.

13 MR. WACHOWIAK: That is correct.

14 MEMBER CORRADINI: You have really done a  
15 best estimate and that is it.

16 CHAIRMAN APOSTOLAKIS: And there will be  
17 some uncertainty on all this at some point?

18 VICE CHAIRMAN SHACK: That is on the next  
19 couple of slides.

20 CHAIRMAN APOSTOLAKIS: Okay. Let's move  
21 on.

22 MEMBER ABDEL-KHALIK: What criterion do  
23 you currently use to indicate to the operators that  
24 there is core uncovering in current generation reactors?

25 MR. WACHOWIAK: There is water level in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the shroud. Well, there is no direct water level  
2 measurement in a BWR inside the core. It is all  
3 indirect from the shroud.

4 MEMBER ABDEL-KHALIK: But there is nothing  
5 we can learn from the emergency operating procedures  
6 of current reactors to indicate at least the potential  
7 for a core uncovering.

8 MR. WACHOWIAK: What we can learn from the  
9 current reactors is that if you do uncover the core  
10 for short periods of time, the core will not be  
11 damaged as long as it is shown to be reflooded in a  
12 fairly short period of time.

13 And what we are saying for our PRA, the  
14 way we did the success criteria is we started with --  
15 we are not going to -- we will call it a core damage  
16 event simply because the core is uncovered.

17 MEMBER SIEBER: You may want to change  
18 that as you refine the uncertainties.

19 MEMBER CORRADINI: Say that again.

20 MR. WACHOWIAK: Yes, I agree with that.  
21 That in the long term, we should try to address that  
22 with using like a 2,200 degree or whatever the right  
23 measure is for fuel damage. But at this point in  
24 time, I don't think we would ever get a consensus that  
25 anybody will trust the 2,200 calculated by codes that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we can use in the time frame necessary to generate  
2 this PRA.

3 MEMBER SIEBER: Probably true.

4 MR. WACHOWIAK: And it would be a little  
5 bit of an overkill, I think, to try to do that at this  
6 point.

7 MEMBER CORRADINI: So, can I ask --

8 MEMBER SIEBER: No, you wouldn't do it  
9 unless you have to do it.

10 MR. WACHOWIAK: Right. And we don't have  
11 to do it.

12 MEMBER SIEBER: Okay.

13 MEMBER CORRADINI: So can I ask a  
14 different question just to get a feeling? So you said  
15 in a very few cases there is any sort of computed  
16 uncovering of the fuel?

17 MR. WACHOWIAK: Yes.

18 MEMBER CORRADINI: Okay. And you used  
19 MAAP in all calculations where it can quickly survey  
20 all the branches and see what is happening?

21 MR. WACHOWIAK: We can set up the cases so  
22 that we can --

23 MEMBER CORRADINI: I understand.

24 MR. WACHOWIAK: --check all the branches.

25 MEMBER CORRADINI: I understand.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. WACHOWIAK: Yes.

2 MEMBER CORRADINI: And then you have used  
3 -- I'm just trying to repeat so I got it right -- and  
4 then in certain cases of interest, you've run TRACG?

5 MR. WACHOWIAK: Not yet.

6 MEMBER CORRADINI: Oh, you haven't at all?

7 MR. WACHOWIAK: We have the TRACG cases  
8 for the design basis events using design basis  
9 assumptions.

10 MEMBER CORRADINI: Okay.

11 MR. WACHOWIAK: We have made an attempt  
12 with four of those cases to reconfigure the MAAP model  
13 to take into account the same kind of design basis  
14 assumptions that TRACG used and ran those four cases  
15 in TRACG and we got general agreement on the  
16 parameters. The trends were the same, about the same  
17 magnitude of different values that we investigated.

18 So we think that MAAP is doing a fairly  
19 good job of modeling these. But none of these cases  
20 came anywhere close to uncovering the core.

21 MEMBER CORRADINI: That's fine. That's  
22 fine. I understand.

23 MR. WACHOWIAK: And so the question here  
24 is how do we know that when you are getting close to  
25 uncovering the core that these two are close enough?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 And that is part of the question.

2 MEMBER WALLIS: Can I go back to your  
3 statement that if you showed any uncovering at all, you  
4 assumed core damage? Is that what you said?

5 MR. WACHOWIAK: Except in a couple of  
6 cases.

7 MEMBER WALLIS: But that really is very  
8 unrealistic. It may well be you could get a CDF of  
9 essentially zero if you took account of the real  
10 cooling of the core.

11 MR. WACHOWIAK: Can we just stipulate that  
12 now and move on?

13 (Laughter.)

14 MEMBER CORRADINI: No, I'm not going to  
15 let you do that. That is a trap. Doesn't answer that  
16 question.

17 MEMBER WALLIS: I think it is up to you to  
18 show it in a professional manner in order to  
19 stipulate. And it may well be you can do so.

20 MEMBER CORRADINI: So can I finish my  
21 question just so I'm clear? So now you've got a few  
22 cases -- I don't know, so if you had 10,000 possible  
23 branches, 50 get some sort of itty bitty uncovering. So  
24 of all those itty bitties, can you not do even a  
25 simpler calculation to see how far off MAAP could be?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           In other words, instead of running to a  
2 computer calculation, can't I do a hand calculation to  
3 do the extreme bounding case and look for that subset  
4 of the 50 where you might be concerned. And then look  
5 at those in a comparison? I mean I'm kind of curious.

6           I don't necessarily think that using MAAP  
7 is necessarily bad. I'm just trying to understand how  
8 you do the selective worry where you get to your last  
9 sentence that says concern remains and you are going  
10 to alleviate concern by running TRACG. I'm not sure  
11 if that would alleviate my concern. That is just  
12 another calculation.

13           MEMBER BONACA: You know the impact of  
14 these 50 sequences he is talking about? I mean --

15           MEMBER CORRADINI: I'm just assuming a  
16 number.

17           MEMBER BONACA: Yes, I understand that.

18           MEMBER CORRADINI: Yes.

19           MEMBER BONACA: I'm saying do you have a  
20 sense of how much you can prove it?

21           MR. WACHOWIAK: Let me go back. The  
22 question that we have isn't necessarily what happens  
23 with a few cases where a couple of inches of fuel gets  
24 uncovered and then recovered. It is the overall sense  
25 of is the success criteria correct for calculating

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 core damage, okay?

2 So if we say we need five valves to  
3 perform the function and we have really only got four  
4 valves to perform the function, is that really core  
5 damage?

6 Now in addressing the sensitivity on the  
7 MAAP --

8 MEMBER CORRADINI: Well I'm just trying to  
9 understand how you are going to get rid of your own  
10 concern.

11 VICE CHAIRMAN SHACK: Why don't you do the  
12 next two slides and then we can beat you up over what  
13 you are actually going to do?

14 MR. WACHOWIAK: Yes, okay.

15 MEMBER CORRADINI: You can tell us to be  
16 quiet.

17 MR. WACHOWIAK: The original plan was to  
18 say we will benchmark a bunch of these different  
19 parameters between MAAP and TRACG. And try to get a  
20 better understanding of the comparison between the two  
21 codes. We wanted to demonstrate that accuracy of our  
22 predictions --

23 MEMBER WALLIS: Let me ask you something.  
24 Have you given TRACG for ESBWR to the staff?

25 MR. WACHOWIAK: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: In a form that they can  
2 run?

3 MR. WACHOWIAK: Oh, I'm sorry. I thought  
4 you meant did we submit our topical reports on use of  
5 ESBWR to the staff. So I don't know if the code  
6 itself --

7 MEMBER WALLIS: I think GE for some cases  
8 has actually given the source code to the staff.

9 MS. CUBBAGE: This is Amy Cubbage from  
10 NRO. Yes, Dr. Wallis, they have given us --

11 MEMBER WALLIS: Oh, you could run TRACG  
12 cases?

13 MEMBER CORRADINI: It runs just as slow on  
14 their computers.

15 MS. CUBBAGE: The staff does run it, yes.

16 MEMBER WALLIS: The staff does run TRACG.  
17 Okay. So if we have a real question, we can ask you  
18 guys if GE doesn't want to run it.

19 MEMBER CORRADINI: Yes but then I would  
20 ask them to run MALCOR because I don't trust TRACG.

21 MEMBER WALLIS: Well, TRACE will sort it  
22 all out for us.

23 MS. CUBBAGE: I'll just say one more thing  
24 about TRACG. It is not reviewed and approved for  
25 uncovering reflood.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER WALLIS: I knew it. I knew it.  
2 But you can still run it. Okay.

3 MR. WACHOWIAK: So we can see some of the  
4 quandary that we get into with this issue.

5 The problem that we have had in executing  
6 the original plan is that we've had different  
7 revisions of the DCD going on and it takes a lot of  
8 our TRACG resources to do what is necessary for  
9 Chapter 6 and Chapter 15 of the DCD.

10 MEMBER WALLIS: How do you do Part No. 2  
11 here without doing an experiment? How can you  
12 demonstrate accuracy of a computer code prediction  
13 without doing an experiment.

14 VICE CHAIRMAN SHACK: But since you are  
15 not going to do this, move on.

16 CHAIRMAN APOSTOLAKIS: What is known --  
17 wait a minute, wait a minute.

18 VICE CHAIRMAN SHACK: Let's move on.

19 MR. WACHOWIAK: The original plan was that  
20 we --

21 MEMBER WALLIS: We will review this anyway  
22 so --

23 CHAIRMAN APOSTOLAKIS: Okay, tell us.

24 MR. WACHOWIAK: The question was, you  
25 know, why haven't we executed this plan.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: Okay.

2 MR. WACHOWIAK: Okay, current plan is we  
3 want a minimized reliance on additional TRACG cases.  
4 And to do this, we are going to start out with a  
5 version of the model, a sensitivity of the model that  
6 just uses the design basis assumption, single failure  
7 criteria. So any time in a system we get two  
8 failures, we are going to say it is a failed function.

9 CHAIRMAN APOSTOLAKIS: Wait. And that is  
10 for what? I mean I don't understand that. Is that  
11 part of the PRA or the --

12 MR. WACHOWIAK: This is to address the  
13 thermo-hydraulic uncertainty.

14 CHAIRMAN APOSTOLAKIS: How does that --  
15 that sounds like a regulatory analysis.

16 MEMBER WALLIS: I don't see any redline  
17 strikeouts.

18 MR. WACHOWIAK: We are going to do a  
19 sensitivity of the model where we make the assumptions  
20 essentially that have been assumed in the design  
21 basis, recalculate the sequences that we have, and  
22 then look for any major changes in the results.

23 If we have some sequences where we find a  
24 large change, and large is undefined as of yet, but if  
25 there are sequences where there is a large change due

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to different success criteria now, we will go and  
2 investigate just those sequences further most likely  
3 using --

4 VICE CHAIRMAN SHACK: But you have a  
5 single failure of an active component but you will  
6 still have your passive component so it is not quite  
7 the --

8 MR. WACHOWIAK: No, this is associated  
9 with the passive system to address the thermo-  
10 hydraulic uncertainty of the passive system.

11 We are going to, for example, in GDCS --  
12 that is a bad one. But, for example, DPS because  
13 different scenarios happen different ways in GDCS, the  
14 design basis assumption is that DPVs work -- perform  
15 their function if seven of the eight valves open.

16 MEMBER WALLIS: what is the basis of that  
17 contention?

18 CHAIRMAN APOSTOLAKIS: Yes, how did that  
19 come about?

20 MR. WACHOWIAK: That's -- well, first off,  
21 it is the requirement that it has to be single  
22 failure-proof. And second off, it was calculated  
23 using TRACG in the regime that TRACG is approved for  
24 with no uncovering and heat up. And that is the basis  
25 for that -- that is the design basis of the plant.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So we will redo -- for this sensitivity,  
2 we will redo the success criteria for the DPVs to say  
3 that if two of eight fail, we will call it a failed  
4 function rather than now where we say if four of eight  
5 fail, it is a failed function. And we will look at  
6 the delta between those.

7           If there is not that big of a delta, we  
8 will say that we don't think that this is going to be  
9 a significant impact --

10           CHAIRMAN APOSTOLAKIS: What delta is that?

11           MR. WACHOWIAK: The difference between  
12 calculating the sequence probability with a five of  
13 eight success criteria versus a seven of eight success  
14 criteria.

15           CHAIRMAN APOSTOLAKIS: But that is where  
16 again you -- I mean no, the delta will be negligible  
17 because of the common cause failure you are assuming.

18           That is exactly the problem I was  
19 referring to earlier. That after a while, you know,  
20 beta, gamma, delta, the product is a certain number.  
21 And whether you have five components or six components  
22 failing, the model is insensitive to that.

23           So it all comes down to the common cause  
24 failure model. You are not going to see any  
25 difference.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. WACHOWIAK: That would be my  
2 expectation.

3 CHAIRMAN APOSTOLAKIS: Yes.

4 MEMBER WALLIS: Which is why they are  
5 doing this. So it sort of a big veil.

6 MR. WACHOWIAK: Before you guys --

7 MEMBER CORRADINI: Wait, I understand what  
8 he is doing.

9 CHAIRMAN APOSTOLAKIS: No, no. This is an  
10 important thing because he is going to say -- I mean  
11 Rick is saying that they are going to calculate the  
12 probability of the sequence again. And I'm saying  
13 that the two sequences that rely on the same model,  
14 which is insensitive to whether you have six or seven  
15 valves failing. So you know in advance the answer.

16 MEMBER CORRADINI: But I'm sorry. Maybe  
17 you guys are faster than I am. I thought you were  
18 looking at the thermo-hydraulic performance using  
19 this. Am I misunderstanding?

20 CHAIRMAN APOSTOLAKIS: He is not. That is  
21 the problem.

22 MEMBER WALLIS: He is not. He is trying  
23 to get around having to do it.

24 CHAIRMAN APOSTOLAKIS: Yes. That is the  
25 problem.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER CORRADINI: You can answer this  
2 one. I'm still not clear what you are doing. I  
3 understand you are changing the performance of the  
4 systems. Are you watching how the system performs?  
5 Or just looking how the probability number changes?

6                   MEMBER BONACA: No, he is tightening up  
7 the success criteria.

8                   MR. WACHOWIAK: What we have in our model  
9 right now and what we will have in the next revision  
10 is a realistic success criteria based on core uncover  
11 not core damage. But based on core uncover that we  
12 think is a good best estimate success criteria in the  
13 model.

14                   There are some uncertainties associated  
15 with that. Should it be six valves? Should it be  
16 five valves? Should it be three valves? Should it be  
17 seven valves? There are questions about that.

18                   And what we are trying to do here is to  
19 look in detail to see in which particular sequences  
20 that concern actually makes a difference to the  
21 outcome of the results -- the outcome of the PRA. If  
22 there is no change to the outcome of the PRA, then we  
23 shouldn't be too concerned whether we have it exactly  
24 right at five valves or it should be six valves.

25                   VICE CHAIRMAN SHACK: But I think the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 conclusion that you get from the case you just  
2 mentioned was that the uncertainty in the common cause  
3 failure is much more important than the thermo-  
4 hydraulic uncertainty.

5 MR. WACHOWIAK: Right. Right.

6 CHAIRMAN APOSTOLAKIS: And that --

7 VICE CHAIRMAN SHACK: And that sort of  
8 addresses thermo-hydraulic uncertainty in a certain  
9 way.

10 MEMBER CORRADINI: Yes. I was going to  
11 say that just basically answers the first --

12 CHAIRMAN APOSTOLAKIS: Yes. And then you  
13 think about the common cause failure uncertainty and  
14 you say, you know, this is the utility required  
15 document which was the judgment of people. So that is  
16 a very easy way of getting out of it.

17 MR. WACHOWIAK: Well, I don't want to say  
18 that we are getting out of anything. What I want to  
19 say is that because of two things, one, that we are  
20 not really looking at core damage. We are looking at  
21 core uncovering as a success criteria.

22 That we should be less concerned about the  
23 exact success criteria due to the thermo-hydraulic  
24 uncertainties and because, like you said, I didn't  
25 think of it this way before but because of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       uncertainties in the common cause model, even if we  
2       did have a better success criteria, we probably don't  
3       have a good enough resolution to tell what the  
4       difference is.

5                   CHAIRMAN APOSTOLAKIS:  But let me -- I  
6       mean I haven't really used this so I may be off the  
7       mark here but in waste repositories, they have  
8       detailed methods that -- first of all, their codes are  
9       at least comparable to yours in complexity, okay?  And  
10      they manage to, you know with various scheme Latin  
11      hypercubes and so on to do an uncertainty analysis.  
12      They also have conservative success criteria given to  
13      them by the EPA and others.

14                   Now they do run the codes.  They propagate  
15      the uncertainty and they are saying something about  
16      how uncertain the performance of the system is.  Why  
17      is that so difficult to do here?

18                   MR. WACHOWIAK:  Essentially because -- I  
19      don't know of a better way of putting it but nobody  
20      believes any of the codes.  So if I did --

21                   MEMBER WALLIS:  Including the PRA code.

22                   MR. WACHOWIAK:  -- if I did sensitivities  
23      of success criteria, you know, using all sorts of  
24      different parameters within MAAP to come up with a  
25      distribution of potential success criteria, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 concern would be well you did that all with MAAP. How  
2 do we know that any of it is any good?

3 CHAIRMAN APOSTOLAKIS: Well, that is what  
4 the performance guys are facing, too. That is the  
5 question they are facing.

6 MEMBER WALLIS: Well, I would be  
7 interested when you say --

8 MR. WACHOWIAK: We have done those kinds  
9 of things. I can show for GDCS with different  
10 parameters modeling different types of friction  
11 factors or different valves --

12 CHAIRMAN APOSTOLAKIS: Right, right.

13 MR. WACHOWIAK: -- we can show all sorts  
14 of different ways that we would predict with that code  
15 the core responding. And you have to get down to some  
16 very, very restrictive numbers which would be on the  
17 order of having less than two of the valves available,  
18 two of the eight valves available, before we would  
19 even start seeing things where a significant heat up  
20 in the core.

21 CHAIRMAN APOSTOLAKIS: And this is not a  
22 convincing argument? In my mind, it is very  
23 convincing.

24 MEMBER WALLIS: I think you should run one  
25 of your worst cases using TRACG and using statistical

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 inputs of some sort and show that it is insensitive to  
2 the uncertainties or something like that. Whether it  
3 is an uncovering of two inches or two feet or ten feet,  
4 it may be within the uncertainty. And maybe the  
5 uncertainty is so small that uncoveries within, you  
6 know, two or three or four inches doesn't make any  
7 difference. I don't know until you have done it.

8 CHAIRMAN APOSTOLAKIS: How long does it  
9 take to run TRACG?

10 MR. WACHOWIAK: With the containment model  
11 turned on, it takes -- from what I've been told since  
12 I don't run it myself is it is around a week to get it  
13 done.

14 CHAIRMAN APOSTOLAKIS: A week?

15 MR. WACHOWIAK: Now I don't know if that  
16 includes the prep time and the review time and  
17 whatever. But when I ask for a case --

18 MEMBER ABDEL-KHALIK: You indicated  
19 yesterday that there is a fairly large uncertainty in  
20 the wide range level measurement even though you  
21 didn't know exactly what that uncertainty was. The  
22 question is how does that uncertainty in hardware  
23 performance risk taken in the original TRACG  
24 calculations that you did to establish the success  
25 criteria?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. WACHOWIAK: In the TRACG calculations  
2 --

3 MEMBER ABDEL-KHALIK: Right.

4 MR. WACHOWIAK: -- what they do for their  
5 particular calculations is calculate what the  
6 analytical limit for the set point is. So they come  
7 up with a limit of worst case of where the thing can  
8 be.

9 And then they use the uncertainty  
10 calculation to say where -- if I don't want it to be  
11 any worse than here, where should I set the set point  
12 above so that even in the worse case uncertainty, it  
13 won't go below this. So they do it backward from  
14 that.

15 They don't take into account the  
16 uncertainty in the TRACG calculation. They use the  
17 TRACG calculation and then an uncertainty factor to  
18 set the set point.

19 So in the PRA in the past, PRAs that have  
20 been done for existing plants for success criteria,  
21 you would tend to use the nominal value for the set  
22 point and you would calculate what would happen based  
23 on where the set points are set.

24 And then you would do sensitivities to  
25 determine what happens if it goes to the different

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 limits. It is more of a best estimate of what will --  
2 what is the expected response versus what is the  
3 absolute minimum response.

4 MEMBER ABDEL-KHALIK: So when you say you  
5 are going to designate any core uncovering or any level  
6 below the top of the active fuel to signify fuel  
7 damage, in that determination, you have taken into  
8 account any uncertainty in the water inventory in the  
9 plant given that transient?

10 MR. WACHOWIAK: I agree with that  
11 statement, yes. However, we don't say that any amount  
12 of core uncovering or just small core uncovering is core  
13 damage. What we are saying is that core damage as  
14 defined in the ASME standard for PRAs is a significant  
15 heat up of the core such that it is going to lose its  
16 geometry.

17 How can we prove what the exact success  
18 criteria is for that? And what we get down to is if  
19 we know the core doesn't uncover, then we know we are  
20 not going to get to that core damage state. So there  
21 is a band of margin that is already embedded in the  
22 calculation just associated with that particular  
23 assumption.

24 And then to get into questions of okay,  
25 now you have stated that you have this much margin and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you are going to set your go/no go decision based on  
2 this level up here, well how accurate does that level  
3 up here have to be?

4 And what I would say it doesn't have to be  
5 very accurate and certainly it doesn't have to be much  
6 more accurate than the resolution of the model will  
7 allow us to investigate. And this would be the common  
8 cause model.

9 If we can't tell the difference between  
10 three valves failing and six valves failing because of  
11 the common cause model, why would we care whether it  
12 is six versus seven failing if we were to actually  
13 calculate core damage? Or maybe six isn't as precise.  
14 Maybe it could be five. We still are beyond the  
15 resolution of what the probabilistic model can  
16 discern.

17 CHAIRMAN APOSTOLAKIS: And the requirement  
18 for seven is based on very conservative assumptions?

19 MR. WACHOWIAK: Yes.

20 CHAIRMAN APOSTOLAKIS: Is that what you  
21 are saying? In other words, I think that what your  
22 argument is that if we had an excellent common cause  
23 failure model and we were able to run these  
24 uncertainties and so on, the result of such a nearly  
25 perfect calculation would be that you probably need

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 only five valves, not seven.

2 MR. WACHOWIAK: yes.

3 CHAIRMAN APOSTOLAKIS: But you are already  
4 way too conservative with the number seven. So why  
5 both to do these extra calculations when you already  
6 know that seven is very conservative. That's really  
7 the basis of your argument.

8 MR. WACHOWIAK: Right, yes.

9 CHAIRMAN APOSTOLAKIS: Well, do my thermo-  
10 hydraulic expert colleagues agree with that?

11 MEMBER CORRADINI: The one who was asking  
12 the questions is out of the room. So I don't want to  
13 answer.

14 CHAIRMAN APOSTOLAKIS: The number seven  
15 comes -- well, that was a mistake on his part -- the  
16 number seven comes from regulatory traditional safety  
17 requirements --

18 MR. WACHOWIAK: The requirement is --

19 CHAIRMAN APOSTOLAKIS: -- which are very  
20 conservative.

21 MR. WACHOWIAK: -- that the function needs  
22 to be single failure proof.

23 CHAIRMAN APOSTOLAKIS: That is the only  
24 thing.

25 MR. WACHOWIAK: Right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: It is not based on  
2 thermo-hydraulic analysis. No, the single failure  
3 criterion is single failure criterion.

4 VICE CHAIRMAN SHACK: Yes. But you have  
5 to do the thermo-hydraulics to show that you meet the  
6 criterion with that failure.

7 MEMBER CORRADINI: You have to know that  
8 it is based on something.

9 CHAIRMAN APOSTOLAKIS: Right. And you  
10 have done that.

11 MR. WACHOWIAK: And that has been done.  
12 But once again, there, the calculation that shows  
13 seven is okay isn't calculating peak clad temperatures  
14 less than 2,200 degrees. Well, it is calculating less  
15 but the limit isn't 2,200 degrees. The limit is a  
16 meter above -- the level a meter above the top of the  
17 fuel. There is no clad water reaction. There is  
18 nothing going on in that calculation where seven is  
19 the design basis success criteria.

20 In the PRA, we have used a different code  
21 to show that we really don't even get to the top of  
22 the fuel as long as four of them open rather than  
23 seven. But still getting to the top of the fuel  
24 doesn't mean that you are going to have core damage.  
25 You would have to get much farther down into the core

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and then not recover the level in a sufficient amount  
2 of time. And when we have run some of those, we could  
3 get -- with using MAAP as the tool for calculating  
4 that, we can get success criteria for the DPVs all the  
5 way down to only needing to have two in most scenarios  
6 open and three in some scenarios.

7 So the PRA uses a success criteria of  
8 five. We could justify -- like if you went out to a  
9 plant today and wanted to look at their success  
10 criteria for what they used in their PRA, using that  
11 same method that the plants use today, we could  
12 probably show two or three depending on the sequence.

13 And the question comes back to how do you  
14 know that it is -- that, you know, five is good  
15 enough? Well, because we have margin to actually  
16 failing the fuel. We are not using failure of the  
17 fuel as the performance measure.

18 MEMBER CORRADINI: So can I say it back to  
19 you a different way since Graham is out of the room?

20 MR. WACHOWIAK: Yes.

21 MEMBER CORRADINI: You actually have done  
22 some worst case calculations using MAAP, which you say  
23 you don't trust --

24 MR. WACHOWIAK: No, no, I didn't say that.

25 MEMBER CORRADINI: Okay, I'm sorry. I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 said that but you said something quite similar there  
2 in a moment of weakness. But using a tool which could  
3 not be universally acceptable in all situations and  
4 you now know the variation that it takes two to make  
5 it work under most cases but you demand five in the  
6 PRA and seven in the design basis calculation.

7 MR. WACHOWIAK: Yes.

8 MEMBER CORRADINI: And just so that I get  
9 a feeling for what that number turns into, what does  
10 that turn into in terms of level uncovered and time  
11 uncovered just so I have -- I don't know it in terms  
12 of two versus seven but I do know it in terms of bare  
13 fuel and time that it is bare.

14 MEMBER BONACA: Yes, that is very  
15 important. In addition to that, it seems to me --

16 MEMBER CORRADINI: That is what Graham is  
17 really asking.

18 MEMBER BONACA: -- is the recover level  
19 very fast by means of the addition -- it seems to me  
20 that, you know, whether you hang there and you recover  
21 slightly and you go above, I mean that point, I would  
22 question, you know, how credible is the calculation  
23 versus the case where you are adding and your level is  
24 coming back up --

25 MEMBER BONACA: -- with margin.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. WACHOWIAK: So let me answer it in a  
2 qualitative way since I don't have those cases in  
3 front of me.

4 MEMBER CORRADINI: That's fine.

5 MR. WACHOWIAK: What we use -- when we use  
6 -- let me make sure I'm in the right -- when we use  
7 the success criteria that we have in the model know,  
8 which is five DPVs, MAAP shows that the core does not  
9 uncover in any of our cases and that the fuel  
10 temperature decreases during the entire scenario.

11 If we use four, then the core is shown to  
12 uncover -- part of the core is shown to uncover and  
13 then be recovered within a time period where there is  
14 a -- early on there is some positive slope to  
15 temperature but it never increases what the  
16 temperature was when the case started.

17 If we go down to three valves, more of the  
18 core uncovers, the temperature starts to go up, does  
19 not reach 2,200 degrees before the core is reflooded  
20 by the GDCS system. If we use two valves, the  
21 temperature in the core exceeds 2,200 degrees before  
22 the reflood occurs.

23 MEMBER CORRADINI: Okay. Thank you.

24 MR. WACHOWIAK: That is the kind of  
25 scenario that we have. So we can -- we have extremely

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 high confidence that the five valves is going to not  
2 result in core damage.

3 CHAIRMAN APOSTOLAKIS: so there will be a  
4 report documenting all these things to be submitted  
5 soon? I mean you are at the last slide now so you can  
6 tell us.

7 MR. WACHOWIAK: The key here is in order  
8 to perform this by, you know, doing these extra cases,  
9 we need the version of the model that incorporates  
10 those design changes that we talked about yesterday.

11 CHAIRMAN APOSTOLAKIS: Yes.

12 MR. WACHOWIAK: So right now what we have  
13 said is that that version of the model, the Level 1 at  
14 least, which is where the success criteria comes from,  
15 that will be ready in April. So we think we can have  
16 this report in May.

17 MEMBER WALLIS: Now to go back -- I'm  
18 sorry I wasn't here for a little while but this is a  
19 new design. This has got all this gravity-driven  
20 flows and things. And so it might be sensitive to  
21 thermo-hydraulic uncertainties in a different way from  
22 what we are used to.

23 So I think we need some confidence that  
24 the thermo-hydraulic uncertainties aren't going to  
25 produce a fairly broad band of behavior around the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 best estimate prediction.

2 CHAIRMAN APOSTOLAKIS: What do you mean by  
3 different way?

4 MEMBER WALLIS: Well, it is no longer --  
5 if you have pump and it pumps water in, you know what  
6 has happened. If you have something which is going by  
7 gravity, it might be more sensitive --

8 MEMBER CORRADINI: Small driving delta-p.

9 MEMBER WALLIS: -- in the driving force.

10 CHAIRMAN APOSTOLAKIS: But, yes. And I  
11 agree.

12 MEMBER WALLIS: So it may be important to  
13 get certain things right. And if there is an  
14 uncertainty about some of thermo-hydraulic, it may  
15 make quite a big difference to the flow rates. I  
16 don't know. But it is a different design.

17 CHAIRMAN APOSTOLAKIS: But the argument  
18 they are making -- the heart of the argument, the way  
19 I understand it, is the success criteria are so  
20 conservative that no matter what you do with these  
21 uncertainties, you will not see any change. Is that  
22 the essence of the argument? Seven valves out of  
23 eight is way out there, Rick is arguing.

24 MEMBER WALLIS: I understand that. I  
25 understand the seven valves. Maybe it is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 depressurized but are the flows which would happen  
2 when the seven valves open, you know, how uncertain  
3 are they is the whole thing I'm looking at.

4 MR. WACHOWIAK: And in particular, we  
5 would need to look at that in combination with how we  
6 treat the GDCS model. And some of those cases have  
7 been done. And I'm still confident that if five  
8 valves work and we have even our worst case realistic,  
9 if you will, so not just outside the realms of reality  
10 --

11 MEMBER WALLIS: What you need is a thermo-  
12 hydraulic code which will --

13 MR. WACHOWIAK: -- on UDCS.

14 MEMBER WALLIS: -- run on the PC in five  
15 minutes. And then you can run all these cases and  
16 there is no problem at all.

17 MR. WACHOWIAK: I have one of those. It  
18 is MAAP.

19 VICE CHAIRMAN SHACK: When we did the PTS  
20 rule, that was sort of the most systematic evaluation  
21 of thermo-hydraulic uncertainties I can think of, and  
22 what they found there was that the input uncertainties  
23 drove -- were, in fact, larger than the thermo-  
24 hydraulic code uncertainties.

25 Now it may be a bad analogy but at least

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I would get a warm feeling if you would present  
2 parametric input uncertainty calculations, which you  
3 can do with MAAP, and tell me what those uncertainties  
4 do. And then I would have to make the decision as to  
5 whether I want to believe my analogy that those  
6 uncertainties really cover the other uncertainties  
7 also.

8 MEMBER CORRADINI: We'd ask the staff to  
9 do it with TRACG. They have ways.

10 CHAIRMAN APOSTOLAKIS: Which other  
11 uncertainties?

12 MR. WACHOWIAK: The uncertainties that are  
13 associated with the model itself.

14 CHAIRMAN APOSTOLAKIS: Okay.

15 MEMBER CORRADINI: His suggestion I think  
16 is very valid is you set up a set of sensitivities.  
17 You look at it with MAAP. And then make some sort of  
18 judgment that those are much larger than what you  
19 would expect to see from model uncertainties buried in  
20 the models.

21 MEMBER SIEBER: But the crux of all this  
22 is a thermo-hydraulic question as opposed to a PRA  
23 question.

24 VICE CHAIRMAN SHACK: Right.

25 CHAIRMAN APOSTOLAKIS: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: So I would suspect we  
2 would finish examining the PRA and reserve the thermo-  
3 hydraulic questions to another time where we can do  
4 it.

5 CHAIRMAN APOSTOLAKIS: But the  
6 uncertainties are fed into the PRA.

7 MEMBER SIEBER: Right.

8 CHAIRMAN APOSTOLAKIS: So it is a PRA  
9 question, too.

10 MEMBER SIEBER: Yes, it is. It drives the  
11 PRA.

12 MEMBER WALLIS: They are inexhorably  
13 intertwined.

14 MR. WACHOWIAK: But even then if we can't  
15 -- with the common cause model, if we can't tell the  
16 difference between five and four valves success  
17 criteria --

18 VICE CHAIRMAN SHACK: Well, that is only  
19 one particular case.

20 MR. WACHOWIAK: I know but

21 VICE CHAIRMAN SHACK: And that one, you  
22 know, I'm willing to believe there that the common  
23 cause model drives me. But just this whole question  
24 of your success criteria in general I think could at  
25 least be addressed by calculations that you can do.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: If you look at the  
2 Gravity Driven Cooling System, GDCS, there the issue  
3 of common cause failures is not the driver in the  
4 uncertainties, is it?

5 MR. WACHOWIAK: No.

6 CHAIRMAN APOSTOLAKIS: Then you will have  
7 this thermo-hydraulic uncertainty issue.

8 MR. WACHOWIAK: In the Gravity Driven  
9 Cooling System?

10 CHAIRMAN APOSTOLAKIS: Yes.

11 MEMBER SIEBER: Yes.

12 CHAIRMAN APOSTOLAKIS: I mean it is not an  
13 issue of five versus seven valves there.

14 MR. WACHOWIAK: The only -- there it is  
15 different than that. It is too -- it is more  
16 complicated that just quite the number of valves. But  
17 in the end, the only thing that comes out of the  
18 answer is the common cause failure of all the valves.

19 MEMBER SIEBER: Right.

20 CHAIRMAN APOSTOLAKIS: All the valves.  
21 You have two valves.

22 MR. WACHOWIAK: Well, no, GDCS has two  
23 valves per train. And there are four trains.

24 CHAIRMAN APOSTOLAKIS: Right.

25 MR. WACHOWIAK: So there are eight valves

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in GDCS also. And what we see in our results are the  
2 only answer that makes it into the cut sets is the  
3 common cause failure of all the valves.

4 MEMBER SIEBER: All the valves, oh.

5 MR. WACHOWIAK: So if we pick --

6 CHAIRMAN APOSTOLAKIS: So there is a case  
7 here where --

8 MR. WACHOWIAK: -- two valves, three  
9 valves, five valves, it doesn't matter. The answer is  
10 the same.

11 MEMBER WALLIS: One tank alone is enough  
12 to do the job?

13 MR. WACHOWIAK: That would be a case where  
14 it would be interesting to look at this because now it  
15 is one tank but it is in combination with the  
16 equalizing valves. But that particular case would be  
17 interesting to look at with this but what I find is  
18 that that particular case isn't very risk significant.  
19 It is an interesting thermo-hydraulic case but it is  
20 not risk significant interesting thermo-hydraulic  
21 case.

22 CHAIRMAN APOSTOLAKIS: Nobody had ever  
23 thought of the fact that because the common cause  
24 failure models are so insensitive to details they  
25 would prevent you from doing uncertainty calculations

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in other areas. I mean that is an unexpected benefit.

2 MR. WACHOWIAK: No, no. I mean it just  
3 means one uncertainty drives most of the --

4 MEMBER CORRADINI: Your ignorance is worse  
5 than our ignorance.

6 CHAIRMAN APOSTOLAKIS: But at the same  
7 time, one can invoke the defense in depth principle  
8 and say, you know, I still want to see this.

9 MEMBER WALLIS: Maybe we should use Greek  
10 letters in thermo-hydraulics. We would be better off.

11 CHAIRMAN APOSTOLAKIS: You would, you  
12 would.

13 MEMBER WALLIS: Arabic.

14 CHAIRMAN APOSTOLAKIS: So I guess -- is  
15 this -- I mean obviously there is some concern on the  
16 part of the subcommittee. Where does that leave us?

17 VICE CHAIRMAN SHACK: We are chewing up  
18 his hour and a half in a big hurry.

19 CHAIRMAN APOSTOLAKIS: The point is that  
20 when GE comes back in May with a report that says  
21 exactly what Rick just told us, what are we going to  
22 do? It is going to be too late at that time to again  
23 express concerns and expect them to do something.

24 MEMBER WALLIS: Well, I'm not sure what  
25 the thermo-hydraulics uncertainties have to do with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 ESBWR. Maybe we need a separate meeting which is  
2 focused on thermo-hydraulics.

3 MEMBER CORRADINI: But I don't think --

4 CHAIRMAN APOSTOLAKIS: It has to be joined  
5 it seems to me.

6 MEMBER CORRADINI: But I don't think it is  
7 fair to put the level of scrutiny you might -- I don't  
8 know what the thermo-hydraulic committee does in this  
9 room but I would be afraid to be in front of them.  
10 But I don't think I would exact the level of scrutiny  
11 on MAAP that you would on the design base  
12 calculations.

13 That is what I think I take out of this.  
14 If he can do the sensitivities to show what Bill had  
15 suggested and then look at how the sensitivities of  
16 the initial and boundary conditions effect the  
17 results. And then make a judgment. You can do check  
18 calculations with TRACG.

19 VICE CHAIRMAN SHACK: With the notion that  
20 you also have the other conservatism built in.

21 CHAIRMAN APOSTOLAKIS: I thought Rick said  
22 that they don't want to do that. That was the point  
23 from the beginning when I said Latin hypercubes and  
24 all that, that is what I meant. That gave the  
25 uncertainties.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER CORRADINI: But I think he is  
2 willing to do it. I think they can do it  
3 expeditiously with MAAP. They cannot do that sort of  
4 massive calculations with TRACG.

5                   CHAIRMAN APOSTOLAKIS: Fine.

6                   MEMBER CORRADINI: That is what I thought  
7 I heard him say.

8                   CHAIRMAN APOSTOLAKIS: But I would like to  
9 see some evaluation of the uncertainties. And then  
10 maybe an argument why this is valid. That would be  
11 fine with me.

12                   VICE CHAIRMAN SHACK: And I'm sure you  
13 will have further discussions with the staff over what  
14 they expect to see.

15                   MEMBER SIEBER: You could do a  
16 nonparametric.

17                   MEMBER ABDEL-KHALIK: I have a question  
18 for you which may seem a little out of the ordinary.  
19 But when the squib valves are initiated, do you  
20 generate any gas?

21                   MR. WACHOWIAK: When the -- that would be  
22 released into the dry well?

23                   MEMBER ABDEL-KHALIK: No, no, that would  
24 be released in the line.

25                   MR. WACHOWIAK: Into the line? No.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER ABDEL-KHALIK: No?

2 MR. WACHOWIAK: Not into the line. Maybe  
3 a very trace amount into the dry well. But I wouldn't  
4 expect anything into the line.

5 MEMBER ABDEL-KHALIK: Okay.

6 MEMBER SIEBER: What about a trace?

7 MR. WACHOWIAK: A trace, okay.

8 MEMBER SIEBER: Plus you are shearing  
9 something off --

10 MR. WACHOWIAK: You are shearing  
11 something, yes. And in that instant --

12 MEMBER SIEBER: -- in the explosions above  
13 that.

14 MR. WACHOWIAK: -- okay.

15 MEMBER SIEBER: A trace amount.

16 MR. WACHOWIAK: A small amount.

17 CHAIRMAN APOSTOLAKIS: Well, are we don't  
18 with this subject for today? At least I think Rick --

19 MEMBER SIEBER: We think we have really  
20 beaten him up enough.

21 CHAIRMAN APOSTOLAKIS: I mean the task  
22 group, were we clear?

23 MR. WACHOWIAK: Okay?

24 CHAIRMAN APOSTOLAKIS: Shall we move on  
25 because --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. WACHOWIAK: We have a decision point  
2 that we can make here.

3 CHAIRMAN APOSTOLAKIS: Okay.

4 MR. WACHOWIAK: Do we want to talk about  
5 fire and flooding real quickly or do we want to have  
6 a very fast overview of the --

7 CHAIRMAN APOSTOLAKIS: I think there is  
8 another decision to be made.

9 MR. WACHOWIAK: Oh.

10 CHAIRMAN APOSTOLAKIS: I really would hate  
11 to wait until June or whatever, that time frame, to  
12 look at your report and have the same comments raised  
13 by the subcommittee or the full committee.

14 So the question is should there be a joint  
15 thermo-hydraulic PRA subcommittee meeting where we go  
16 into more detail on these and we will have had a  
17 chance to think about it with your colleagues? Maybe  
18 in late January or February? Before you actually do  
19 a lot of this work.

20 MEMBER SIEBER: I think we are all here,  
21 right?

22 MR. WACHOWIAK: If you are going to do all  
23 that, you might as well do it when you volunteered  
24 them to do Level 2 in January.

25 CHAIRMAN APOSTOLAKIS: Well, that's a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 given.

2 MEMBER CORRADINI: Oh, I see. It would  
3 seem to me if you are going to drag them all here, you  
4 might as well drag them all here for just one time.

5 CHAIRMAN APOSTOLAKIS: Rick, you can tell  
6 us what you think. I mean that is a good suggestion.  
7 Will you be ready by then? The thing is I really  
8 don't want us to be in a position where you have  
9 already invested a lot of time and effort doing  
10 something and then we come in and say well, gee, we  
11 don't like that. I mean it would have been nice for  
12 you to have done something else.

13 So how can we influence the process, if  
14 you guys, of course, want to get this input, what is  
15 the time frame it may be a good -- the Level 2, we can  
16 combine it with the Level 2 subcommittee meeting.

17 MEMBER CORRADINI: Yes. The question is  
18 will we -- we could have some of these parametrics  
19 studies using MAAP done at that point in time.

20 CHAIRMAN APOSTOLAKIS: Okay.

21 MEMBER CORRADINI: Now if we have a joint  
22 committee meeting with the two committees, I'm worried  
23 that it will just be a several hour discussion about  
24 why some people one code versus another. And we won't  
25 actually be discussing how does the subject of thermo-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 hydraulic uncertainty factor into the core damage  
2 frequency and large release frequencies.

3 CHAIRMAN APOSTOLAKIS: Well, the Chairman  
4 of the subcommittee is not here but we have some of  
5 the members.

6 MEMBER WALLIS: Well, I think you know  
7 some of the questions we are likely to ask.

8 MEMBER CORRADINI: That's why he is  
9 worried. That is why he doesn't want to volunteer.

10 MR. WACHOWIAK: That is why I am worried  
11 about that because we have to remember that this  
12 particular subject in the PRA is not addressing the  
13 minutia of how you calculate gravity driven systems  
14 for design basis accidents.

15 This is how does the uncertainty of being  
16 able to accurately calculate when the core is  
17 uncovered and reflood. How does that reflect back on  
18 the core damage frequency and the large release  
19 frequency?

20 MEMBER WALLIS: I guess what I'm  
21 reflecting is --

22 MR. WACHOWIAK: And if we can't discern  
23 that with our common cause model anyway no matter how  
24 accurate we get in our codes, then is it a useful  
25 discussion?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: Would it be then  
2 better in your mind to have this discussion when we  
3 meet on the Level 2 PRA? Because some of the members  
4 of the thermo-hydraulic subcommittee will be there  
5 anyway. But the focus will not be thermo-hydraulics.

6 MR. WACHOWIAK: We could do that.

7 CHAIRMAN APOSTOLAKIS: So when do you --

8 MEMBER CORRADINI: Can I ask --

9 CHAIRMAN APOSTOLAKIS: -- think you will  
10 have some of these calculations? February? You don't  
11 have to have a complete set by the way.

12 MR. WACHOWIAK: Yes. February should be  
13 fine.

14 CHAIRMAN APOSTOLAKIS: If you say, you  
15 know, yes, this is what we plan to do and we agree --

16 MR. WACHOWIAK: We talked about our  
17 schedule yesterday and our rebaselining. We were  
18 working on that last night. I'm talking about the  
19 engineering schedule that is several pages -- a  
20 hundred pages.

21 CHAIRMAN APOSTOLAKIS: So maybe the  
22 February

23 MR. WACHOWIAK: I think it fits into the  
24 February time frame.

25 MEMBER CORRADINI: Can I ask a point of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 information for the two -- oh, I guess Graham is and  
2 Said is -- but so I'm not really -- I'm not even sure.  
3 So we are now looking at the PRA. Has the thermo-  
4 hydraulic subcommittee already looked at design basis  
5 questions relative to ESBWR? And if the answer to  
6 that is no, we are getting a little bit ahead of  
7 ourselves. And that is what, I guess, I'm curious  
8 about.

9 CHAIRMAN APOSTOLAKIS: Have you?

10 MEMBER WALLIS: Well, I'm not sure we've  
11 looked at them --

12 VICE CHAIRMAN SHACK: You've said the code  
13 can be used.

14 MEMBER KRESS: We said we had the same  
15 results.

16 MEMBER CORRADINI: But in terms of Chapter  
17 15 analysis, has the thermo-hydraulic subcommittee  
18 looked into design basis space? That is what I'm  
19 curious about.

20 CHAIRMAN APOSTOLAKIS: We have a comment  
21 from the staff. Amy?

22 MS. CUBBAGE: Right. Amy Cubbage. Yes,  
23 the committee has only looked at it in the pre-  
24 application review and it was the acceptability of the  
25 application of the TRACG code to ESBWR for LOCA and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 stability. But you have not seen the results or the  
2 design.

3 MEMBER CORRADINI: So I guess we are  
4 getting -- unless I misunderstood, we are getting a  
5 bit ahead of ourselves because we drag them in about  
6 one thing. They are still yet to be dragged in about  
7 --

8 MEMBER WALLIS: Why don't we drag them in  
9 in thermo-hydraulics to do the Chapter 15 stuff and  
10 also to sort of extend that into this area?

11 CHAIRMAN APOSTOLAKIS: Because then you  
12 would need the PRA guys there.

13 MEMBER WALLIS: I don't think you need the  
14 PRA guy. You just saying show us the thermo-hydraulic  
15 uncertainties and beyond design basis accidents.

16 MEMBER SIEBER: Have we convinced the  
17 staff how they can review the PRA and never review  
18 MAAP?

19 CHAIRMAN APOSTOLAKIS: Yes, we will do  
20 that after the break. When is the thermo-hydraulic  
21 subcommittee going to meet?

22 MEMBER WALLIS: I have no idea.

23 CHAIRMAN APOSTOLAKIS: Is it before  
24 February when they are going to meet the next time?

25 MEMBER CORRADINI: Do you want me to look

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 up what we have listed as the time?

2 CHAIRMAN APOSTOLAKIS: Okay.

3 MEMBER CORRADINI: The next time --

4 CHAIRMAN APOSTOLAKIS: The subcommittee to  
5 review ESBWR calculations.

6 MEMBER CORRADINI: Well, I'm just looking  
7 for the next thermo-hydraulic subcommittee.

8 CHAIRMAN APOSTOLAKIS: It has not been set  
9 Eric says.

10 MEMBER CORRADINI: Oh. Well then I don't  
11 know.

12 CHAIRMAN APOSTOLAKIS: So do you think  
13 that will be before the February time frame? No?

14 PARTICIPANT: The meeting is in January.

15 CHAIRMAN APOSTOLAKIS: Anyway we can still  
16 look at these without having the benefit of the other  
17 review because really what I think the objective will  
18 be will be to agree or come to reasonable agreement  
19 that what they are planning to do is reasonable in our  
20 minds.

21 They don't have to have done it. So I see  
22 those two as decoupled really to a large extent.

23 MEMBER CORRADINI: I guess just to -- I  
24 guess, Graham, I don't -- if I were them, I wouldn't  
25 agree to go into the den of the thermo-hydraulics

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 folks with this. I would rather come back in a -- if  
2 they are going to tab a Level 2 discussion, come back  
3 and talk about this because a lot of the same folks  
4 will be in the room anyway.

5 CHAIRMAN APOSTOLAKIS: Okay. So --

6 MEMBER WALLIS: So what kind of animals do  
7 you expect to find in this den?

8 (Laughter.)

9 MEMBER CORRADINI: I'm just watching his  
10 response. I wouldn't want to do it.

11 CHAIRMAN APOSTOLAKIS: I think we have  
12 exhausted the subject. And Eric will work with GE to  
13 set up dates for February or thereabouts to address  
14 Level 2 plus this issue.

15 MR. WACHOWIAK: Plus this issue.

16 CHAIRMAN APOSTOLAKIS: And whatever  
17 information GE can bring us by then, that will be  
18 fine.

19 MR. WACHOWIAK: And I will try to make  
20 clear in that time that the objective of this thermo-  
21 hydraulic uncertainty is to help determine how it is  
22 going to effect the PRA analysis.

23 CHAIRMAN APOSTOLAKIS: Fine. But I mean  
24 some calculations showing the uncertainty in the  
25 inputs and how they effect the output and then a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 discussion of the model uncertainty without getting  
2 into, you know, major research projects would probably  
3 be helpful.

4 MR. WACHOWIAK: Okay.

5 CHAIRMAN APOSTOLAKIS: And now your  
6 question was whether we should go over the external  
7 event analysis?

8 MEMBER CORRADINI: It's moot.

9 CHAIRMAN APOSTOLAKIS: Why should we do  
10 that?

11 MEMBER CORRADINI: Let's go to RTNSS.

12 MEMBER WALLIS: RTNSS. RTNSS.

13 CHAIRMAN APOSTOLAKIS: Oh, yes, that is  
14 important.

15 MR. WACHOWIAK: Okay.

16 PARTICIPANT: With about five minutes.

17 CHAIRMAN APOSTOLAKIS: No, he has more.  
18 He has more. But let --

19 MR. WACHOWIAK: Well, basically what I was  
20 --

21 CHAIRMAN APOSTOLAKIS: Do you have a  
22 handout here?

23 MEMBER WALLIS: Yes.

24 MR. WACHOWIAK: Yes, it is the one that  
25 says Regulatory Treatment of Non-Safety System.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: This one?

2 MEMBER KRESS: Surprise.

3 MR. WACHOWIAK: It looks just like this  
4 one.

5 MEMBER WALLIS: Usually they put these in.

6 CHAIRMAN APOSTOLAKIS: Okay. Thank you.

7 MR. WACHOWIAK: Oh, yes, you are right.  
8 I did change the way the title was.

9 CHAIRMAN APOSTOLAKIS: Yes, the title --  
10 the big title is Probabilistic Risk Assessment. Here  
11 you change it.

12 MR. WACHOWIAK: I opened the wrong file.

13 CHAIRMAN APOSTOLAKIS: That is  
14 inexcusable, Rick.

15 (Laughter.)

16 MEMBER MAYNARD: What is the probability  
17 of that?

18 MEMBER KRESS: Human error.

19 CHAIRMAN APOSTOLAKIS: .16 we said  
20 yesterday.

21 MR. WACHOWIAK: After having done it, it  
22 is one.

23 Okay, now --

24 CHAIRMAN APOSTOLAKIS: Do you really need  
25 to go over all these slides?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. WACHOWIAK: No, we don't need to go  
2 over all the slides.

3 CHAIRMAN APOSTOLAKIS: Oh, okay.

4 MR. WACHOWIAK: I was trying to give him  
5 some reassurance that -- because we covered this topic  
6 with the staff in about a day. So --

7 CHAIRMAN APOSTOLAKIS: So we need at least  
8 three days.

9 MR. WACHOWIAK: We want to talk about --  
10 in the past, revisions of the DCD and in the PRA,  
11 there were some questions about how we treated or how  
12 we came to our RTNSS set because we had the very  
13 minimal set of equipment that was in that program.

14 We took an extensive look again at all of  
15 the different SECYs that are associated with RTNSS and  
16 what we have in our design and reassessed that and  
17 came up with a different set. And this will be the  
18 discussion of that.

19 Okay. This is basically background, where  
20 the information comes from. The one thing I want to  
21 point out is that a lot of this is from precedent. It  
22 is what happened with AP1000 and AP600 is --

23 CHAIRMAN APOSTOLAKIS: Speaking of  
24 precedents, one thought strikes me here. In -- was it  
25 50.69 where we have this matrix of category one, two,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 three, four? Are you familiar with that?

2 MR. WACHOWIAK: Yes.

3 CHAIRMAN APOSTOLAKIS: Is this -- there we  
4 have safety-related systems and then the PRA comes in  
5 and says no, with the safety related you will have two  
6 categories, one and three. Non-risk significant and  
7 risk significant. Then you have the non-safety  
8 related and you have categories two and four, I think,  
9 right?

10 Four is non-safety related, none risk  
11 significant, two, non-safety related but risk  
12 significant according to the importance measures. Is  
13 this RTNSS business similar our categories? It looks  
14 like it is similar to Category Two, non-safety-  
15 related. So can we take advantage of the work that  
16 was done there and put some order here?

17 MR. WACHOWIAK: No.

18 CHAIRMAN APOSTOLAKIS: Why not?

19 MR. WACHOWIAK: Because the instructions  
20 for how to do this is contained here.

21 CHAIRMAN APOSTOLAKIS: In 94/95, these are  
22 the years?

23 MR. WACHOWIAK: Yes.

24 CHAIRMAN APOSTOLAKIS: That is way before  
25 this 50.69 was approved.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER WALLIS:    Your criterion C is a bit  
2                   like what he is describing here.

3                   MR. WACHOWIAK:   It is a bit like it but  
4                   when you look at how we have to do it, it is different  
5                   than what is in 50.69.  It is different than what's in  
6                   -- or not in 50.65 but in the maintenance rule  
7                   guidance.  It is different than what is in the D-RAP  
8                   guidance.

9                   MEMBER WALLIS:   This is --

10                  MR.    WACHOWIAK:   There are several  
11                  different risk ranking programs that attempt to do the  
12                  same thing.  They do it in different ways.  And you  
13                  end up with different results if you follow a  
14                  different path.

15                  CHAIRMAN APOSTOLAKIS:   So there is an  
16                  inconsistency in the regulations then.  That is what  
17                  you are saying?  Because in '94, '95, I don't think  
18                  people were using importance measures to the extent  
19                  that were used in 50.69.

20                  MR. WACHOWIAK:   In this particular case,  
21                  importance measures don't come into play.

22                  CHAIRMAN APOSTOLAKIS:   That's right.  So  
23                  then this question is more appropriate for the staff  
24                  I suppose.

25                  MR. WACHOWIAK:   They are up next.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 (Laughter.)

2 PARTICIPANT: We don't want to miss our  
3 shot at them.

4 (Laughter.)

5 MR. WACHOWIAK: Okay. The requirements  
6 come from -- these are the ABC requirements listed in  
7 a slightly different way but we've gone through an  
8 evaluation of all those things. What we find is from  
9 the deterministic side that we had in Rev 0 of the DCD  
10 that ARI was RTNSS and Rev 1 took it out. Well, it  
11 needs to go back in. It meets one of these  
12 requirements.

13 Also when looking at this, we found that  
14 the feedwater control system or the feedwater  
15 controller itself also falls into the RTNSS category  
16 because in order for standby liquid control to work,  
17 we have to have a feedwater run back. So it falls  
18 into here as a support system, if you will, for that.

19 VICE CHAIRMAN SHACK: Oh, the SLCS  
20 requires the successful run back?

21 MR. WACHOWIAK: Yes.

22 VICE CHAIRMAN SHACK: I appreciate that.

23 MR. WACHOWIAK: For the overall success  
24 criteria. SLCS can still bring the power down in the  
25 reactor but we can't meet all the other containment

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 parameters and things without the run back. So --

2 CHAIRMAN APOSTOLAKIS: SLCS is a standby  
3 control.

4 MR. WACHOWIAK: Station blackout should  
5 not bring in any more RTNSS criteria for the passive  
6 science because they are really designed for a 72-hour  
7 station blackout. Now we have to look again at other  
8 things based on post-72-hour criteria.

9 Seismic, in our seismic margins analysis,  
10 we showed -- well, let me start off, seismic responses  
11 all provided by safety-related components so on the  
12 deterministic side, nothing comes in there.

13 Our seismic margins analysis only included  
14 safety-related components. And we show that we meet  
15 the seismic margins so we don't think we have anything  
16 new on seismic coming in. But once again, this post-  
17 72-hour safety is applicable to seismic and this is  
18 where the controversy comes in.

19 VICE CHAIRMAN SHACK: I have a question.  
20 You mentioned yesterday and the seismic margins was  
21 the sort of thing that I noticed that, you know, the  
22 seismic margins basically ended up with a set of  
23 requirements on fragilities for equipment that you  
24 said was going to go back in the design control  
25 documents.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. WACHOWIAK: Yes.

2 VICE CHAIRMAN SHACK: Is there anything  
3 else from the PRA that is going to go back into the  
4 design control documents that you have identified?

5 MR. WACHOWIAK: Yes.

6 VICE CHAIRMAN SHACK: A quick one  
7 paragraph summary?

8 MR. WACHOWIAK: Well, we need to go back  
9 and specifically look at those and make sure that list  
10 is complete. I know we're --

11 VICE CHAIRMAN SHACK: You won't effect the  
12 DAC from your instrumentation and control?

13 MR. WACHOWIAK: It won't effect the DAC  
14 for the instrumentation and control. But it may  
15 effect the configuration of the instrumentation and  
16 control.

17 So the DAC itself is based on all the  
18 different technical requirements that are associated  
19 with I&C. But there is nothing in the DAC that says  
20 that two of those load driver cabinets need to be  
21 separated so that we would prevent spurious actuation  
22 during a fire. That would come out of the PRA and we  
23 would list that one as a PRA requirement.

24 We've made an attempt once at going  
25 through and identifying all the things that went into

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 design requirements that came out of PRA analysis.  
2 That list is incomplete because a lot of it happened  
3 in the conceptual design state.

4 VICE CHAIRMAN SHACK: Well, I'm think more  
5 in this formal statement now where, you know, you've  
6 submitted document.

7 MR. WACHOWIAK: We will work on that. I  
8 don't have that off the top of my head.

9 Now long-term safety. What we have to  
10 look at for long-term safety -- this is what happens  
11 after 72 hours when our batteries would be considered  
12 to be dead. We really need to look at all events.  
13 You can't just way well, what do you do after a LOCA?

14 Well, you have to consider LOCAs. You  
15 have to consider transients. You have to consider  
16 seismic events. You have to consider hurricane  
17 events. All those things. It is a comprehensive  
18 look.

19 And then we have to look at all the  
20 different functions.

21 MEMBER WALLIS: In the long-term cooling,  
22 you talked about in this section the back up water  
23 from the fire protection system.

24 MR. WACHOWIAK: Yes.

25 MEMBER WALLIS: And you said that your

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 conclusion was RTNSS supplies to selected portions of  
2 the ESBWR fire protection system. But there was  
3 nothing specific. I mean selected portions could be  
4 anything. And it wasn't clear to me how you selected  
5 the portions that were RTNSS.

6 MR. WACHOWIAK: And you are looking at the  
7 slide now? Or are you looking at something that was  
8 in the --

9 MEMBER WALLIS: I'm looking at the text.

10 MR. WACHOWIAK: -- DCD?

11 MEMBER WALLIS: Text. In the text. The  
12 long-term safety we were talking about. You were  
13 talking about back up water in this context. And we  
14 see here a very vague statement that RTNSS is supplied  
15 to selected portions of the fire protection system.

16 MR. WACHOWIAK: And that may be part of  
17 what the contention with the staff on the whole RTNSS  
18 issue has been because some considered it less than  
19 complete and some considered it not explained very  
20 well.

21 MEMBER WALLIS: Okay. So you don't --

22 MR. WACHOWIAK: So we've said --

23 MEMBER WALLIS: -- know the reference  
24 here, okay.

25 MR. WACHOWIAK: -- that this is what our

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 plan is or this is what our strategy is for handling  
2 RTNSS and we still owe the staff a write up on that.

3 MEMBER WALLIS: But that is where it is.  
4 It is still work in progress. That is why it is  
5 incomplete.

6 MR. WACHOWIAK: Okay.

7 CHAIRMAN APOSTOLAKIS: So how is PRA used  
8 to determine -- did you talk about it?

9 MR. WACHOWIAK: We haven't gotten to that  
10 part yet. We will get there.

11 CHAIRMAN APOSTOLAKIS: Oh, good.

12 MR. WACHOWIAK: Long-term safety though we  
13 have to consider core cooling, decay heat removal,  
14 post-accident monitoring, and control room  
15 habitability. My strategy for all contingencies is it  
16 just basically means we have to be able to say this is  
17 how we are going to do long-term safety under these  
18 conditions.

19 In earlier versions of the DCD, the idea  
20 was that after 72 hours, we would have enough time and  
21 personnel onsite that we can figure out something.  
22 And that is not consistent with the guidance that is  
23 written in the SECY documents and especially in the  
24 precedent that is out there.

25 It is consistent though with existing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 plants in severe accident management planning and  
2 things like that. But that is okay. We understand  
3 that this is a different plant, different process.

4 So we've relooked at this and said let's  
5 go through it in a systematic process. What is our  
6 strategy for any of the different scenarios for long-  
7 term safety?

8 MEMBER WALLIS: What is the difference  
9 between core cooling and decay heat removal?

10 MR. WACHOWIAK: In ESBWR it turns out to  
11 be no difference. But in general it could be the  
12 containment versus --

13 MEMBER WALLIS: It could be decay removal  
14 from the containment.

15 MR. WACHOWIAK: Yes.

16 MEMBER WALLIS: Yes, okay.

17 MR. WACHOWIAK: But in ESBWR, those things  
18 are linked --

19 MEMBER WALLIS: It is transparent. It is  
20 the same thing.

21 MR. WACHOWIAK: -- it is the same thing.

22 Those first things need to be done  
23 deterministically. Then in the end we can use the PRA  
24 to determine the risk significance of any of those  
25 functions. So the PRA doesn't tell us what we need

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 for long-term safety. It is used to determine what is  
2 the significance of those things for long-term safety  
3 after we have figured out what they are.

4 CHAIRMAN APOSTOLAKIS: And the  
5 significance would be what? Importance measures? Or  
6 what?

7 MR. WACHOWIAK: that is kind of how we did  
8 that was somewhat by importance measures for this.  
9 Other parts of the risk significance is done using the  
10 focused PRA to say how we meet the goals with safety-  
11 related and RTNSS equipment only.

12 CHAIRMAN APOSTOLAKIS: So you would find  
13 then the --

14 MR. WACHOWIAK: I'll get to that.

15 CHAIRMAN APOSTOLAKIS: Okay.

16 MR. WACHOWIAK: Okay? Just for our plant,  
17 zero to 72 hours, everything is safety related. We  
18 don't need any operators during that time frame.  
19 Three to seven days, there is requirement that  
20 anything we are going to consider for long-term safety  
21 has to be onsite.

22 And then for seven plus days, we can go  
23 get commodities from offsite. Diesel fuel, water, air  
24 bottles, food. I don't know how food factors into any  
25 of this.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: Food you said?

2 MEMBER CORRADINI: McDonald's is always  
3 nearby somewhere.

4 MR. WACHOWIAK: So in general if you have  
5 more time then when it has to happen you can impose  
6 less stringent requirements on things. So time should  
7 be considered in this and when in determining the risk  
8 significance, time should be considered also.

9 We are looking at saying that repair of  
10 something we are crediting is okay if you don't need  
11 it for three days. Okay? Now that statement itself  
12 you have to read some more into it. The fire pump  
13 that we have, we have the pump, we can use it for  
14 long-term cooling to supply water to the ICPCP pools.  
15 But it is one pump though.

16 If we turn it on, we can refill the pool  
17 fairly quickly. And then if the pump fails, you have  
18 approximately three more days before you have to get  
19 it started again if you have already refilled or  
20 mostly refilled the pump.

21 MEMBER WALLIS: You only have one pump for  
22 the fire protection system?

23 MR. WACHOWIAK: No. That is the portion of  
24 the fire protection system that are RTNSS, selected  
25 portions of the fire protection system.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So we want to be able to consider that in  
2           the deterministic look at these things. Once again,  
3           we have to have all the functions. So the next piece  
4           then is after we determine all the things from the  
5           deterministic look of what is going to be written,  
6           then we look to see if there is anything additional  
7           that comes out fo the PRA.

8           We need to meet the safety goals CDF of  
9           less than ten to the minus four and LRF of less than  
10          ten to the minus six with some consideration for the  
11          containment performance goal considering only the  
12          safety-related and RTNSS systems. Then if we don't  
13          meet those goals, we would add systems until we did,  
14          okay?

15          What we are saying is that for risk  
16          significance here, line in the four box thing for  
17          50.69, risk significance here would be those things  
18          that you had to add to get to these goals. So you  
19          can't meet the goals with just safety-related  
20          equipment alone.

21          MEMBER WALLIS: Is there any one of them  
22          that meets the CDF criterion here?

23          MR. WACHOWIAK: The CDF criteria isn't  
24          difficult to meet with ESBWR.

25          MEMBER WALLIS: Now you don't need any

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 RTNSS for that do you?

2 MR. WACHOWIAK: No, the large release  
3 frequency one though is a little more challenging  
4 since it is two orders of magnitude lower. And we do  
5 have the common cause failure of the digital  
6 instrument control system, the safety-related --

7 MEMBER WALLIS: Well, it is this steam  
8 explosion business isn't it? That steam explosion is  
9 the problem.

10 MR. WACHOWIAK: No, it's -- if the digital  
11 instrument control system has its catastrophic  
12 failure, failure of everything, then we lose ECCS and  
13 we lose our containment isolation capability.

14 MEMBER WALLIS: Is this one which is  
15 subject to those 0.1 factors? Is that it? Failure of  
16 LOCA system.

17 MR. WACHOWIAK: So that one is in there.  
18 So what we have ended up saying is that selected  
19 portions of the diverse protection system would meet  
20 this risk-significant RTNSS category that give us two  
21 ways of performing the ECCS and containment isolation  
22 functions.

23 And we are still looking at which are the  
24 right functions to put that in on. It is probably not  
25 all of them. It is most likely going to be the manual

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 portion of the DPS. I know that the other vendors did  
2 a similar sort of an analysis and came out with about  
3 the same results. That would be risk significant,  
4 mostly likely subject to a simple type of a tech spec  
5 on that system.

6 Now we've got other systems where we would  
7 address uncertainty in the focused PRA. We have been  
8 talking back and forth with the staff on how we should  
9 go about doing this.

10 One suggestion is that we take all of our  
11 worst case sensitivities, put those together in the  
12 focused PRA, and then add other systems associated or  
13 other non-safety-related systems and see how we would  
14 come about meeting the goals.

15 CHAIRMAN APOSTOLAKIS: What does this  
16 mean? Systems needed to address uncertainty?

17 MR. WACHOWIAK: When we do the focused  
18 PRA, right, there is still uncertainty in the focused  
19 PRA.

20 CHAIRMAN APOSTOLAKIS: Right.

21 MR. WACHOWIAK: So we have a point  
22 estimate. And in the top portion we would say what do  
23 we need to get the point estimate below these goals?  
24 In this one we have the uncertainty band on the PRA  
25 and what systems do we need to add to make sure that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the uncertainty band is below those goals.

2 CHAIRMAN APOSTOLAKIS: Who says that it  
3 has to be? I mean these are goals on the mean value.  
4 Nobody says that the 95th percentile has to be less  
5 than ten to the minus four.

6 MEMBER CORRADINI: Unless I misunderstood  
7 from your overview, you meet the top thing with the  
8 mean estimate, right?

9 CHAIRMAN APOSTOLAKIS: Yes. And that's  
10 the regulation. Oh, no, it's not even a regulation.

11 MR. WACHOWIAK: That's the focused -- the  
12 focused PRA removes all non-safety-related systems  
13 from the PRA. So the focused PRA has much higher  
14 numbers than what you see there.

15 MEMBER KRESS: But you still meet --

16 CHAIRMAN APOSTOLAKIS: This is with active  
17 systems.

18 MR. WACHOWIAK: That's with impassive  
19 systems.

20 MEMBER KRESS: In one of our letters, we  
21 made the comment that for new plants like ESBWR that  
22 the safety goals ought to be CDF ten to the minus five  
23 to respond to the Commission's expectation for a high  
24 level safety for new plants. Why did you select ten  
25 to the minus four for the RTNSS?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. WACHOWIAK: This is what was approved  
2 in the SRM was ten to the minus four.

3 MEMBER KRESS: I know but I would have --  
4 if I had have been them, I would have read the ACRS  
5 letter and said well, let's use ten to the minus five.

6 CHAIRMAN APOSTOLAKIS: But you meet that  
7 anyway I can see.

8 MEMBER KRESS: Yes, they made it.

9 MR. WACHOWIAK: With the focused PRA or  
10 with the -- the focused PRA considering uncertainty on  
11 everything --

12 CHAIRMAN APOSTOLAKIS: Point estimates.

13 MR. WACHOWIAK: Point estimates? Yes, we  
14 meet that.

15 CHAIRMAN APOSTOLAKIS: So I'm really  
16 curious about this uncertainty business. I mean yes,  
17 it is okay to address but I don't think you start  
18 comparing upper percentiles to the goals. That is a  
19 very bad precedent.

20 MEMBER WALLIS: Why?

21 CHAIRMAN APOSTOLAKIS: Because the goals  
22 were set for mean values.

23 MEMBER WALLIS: But it does show inherent  
24 safety.

25 CHAIRMAN APOSTOLAKIS: Oh, yes, sure.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 There is no end to it. I mean it is something to  
2 address it but not to make it formal and demand the  
3 whole distribution or 95 percent of it.

4 MEMBER WALLIS: It is a good design tool.

5 CHAIRMAN APOSTOLAKIS: I mean existing  
6 plants don't meet that.

7 MR. WACHOWIAK: so let me just ask a  
8 different question. So if you were to do all this  
9 with this upper bound, could you basically say you  
10 don't need to evacuate? Could you change your outer  
11 --

12 CHAIRMAN APOSTOLAKIS: No, you are just  
13 changing the requirements without any benefit.

14 MEMBER WALLIS: Why doesn't that benefit?

15 CHAIRMAN APOSTOLAKIS: Because the staff  
16 will come back and tell you, you know, this is  
17 irrelevant to evacuation.

18 MEMBER WALLIS: But the public is safer.  
19 There is a benefit.

20 CHAIRMAN APOSTOLAKIS: Yes but I mean come  
21 on. There is a fundamental philosophy here that the  
22 Commission sets regulations. And if you meet them,  
23 you are safe enough. You are not going to turn around  
24 and say yes, but if I was to do this, and this, and  
25 that, I'm safer --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER WALLIS: Why shouldn't a good  
2 designer make a thing that is safer than is required?  
3 I don't understand what you are arguing about?

4                   CHAIRMAN APOSTOLAKIS: The designer would  
5 but we would not demand it.

6                   MEMBER WALLIS: No, we're not. But they  
7 are doing it. I mean why should they be blamed for  
8 doing something which makes sense?

9                   CHAIRMAN APOSTOLAKIS: Nobody is blaming  
10 them.

11                   MR. WACHOWIAK: I want to make sure -- we  
12 have designed a plant that is much safer than  
13 required.

14                   CHAIRMAN APOSTOLAKIS: Okay.

15                   MR. WACHOWIAK: That is what we presented  
16 yesterday, those numbers. This is determining which  
17 components that we have designed in have regulatory  
18 control on them versus being designed in. So we  
19 shouldn't necessarily have -- well, we shouldn't have  
20 to change the design of the plant in order to meet  
21 these goals. We should be able to say this is what it  
22 is. And if there is some availability requirements,  
23 okay.

24                   So for the things that are needed to  
25 address uncertainty, I understand your concern about

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 keeping the whole of the uncertainty band below those  
2 goals because that is not how the goals were  
3 established. I share that view.

4 But the precedent does not do it that way.  
5 So we have to -- you know we're trying to get through  
6 the process so we've looked at it with that light.

7 CHAIRMAN APOSTOLAKIS: This statement,  
8 these are not risk-significant systems is your  
9 proposal or something you have agreed to with the  
10 staff?

11 MR. WACHOWIAK: It is my proposal. In the  
12 context of RTNSS, risk significance really comes down  
13 to the difference between needing to have things that  
14 are like tech specs versus things that can be  
15 controlled by the maintenance rule. And I don't want  
16 to have a tech spec on a non-safety-related component  
17 because it was included in the RTNSS set because of an  
18 uncertainty calculation.

19 So in order to make the words in the SECYS  
20 work out, I have to say that these things that are put  
21 in here are not considered risk significant as far as  
22 the RTNSS program is concerned.

23 They may be risk significant in the  
24 maintenance rule program. They may be risk  
25 significant in the D-RAP program. If you did 50.69,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 they may even be risk significant if you did 50.69.  
2 But in RTNSS, they would not be considered risk  
3 significant.

4 CHAIRMAN APOSTOLAKIS: I understand. Now  
5 I get it.

6 MR. WACHOWIAK: Okay. And --

7 MEMBER WALLIS: I'm not sure how you are  
8 going to explain that to a non-expert on regulations  
9 but go ahead.

10 MR. WACHOWIAK: It is difficult.

11 MEMBER WALLIS: If I were to explain it to  
12 my students, they wouldn't have a clue what I was  
13 talking about.

14 MEMBER CORRADINI: It took him an hour  
15 just for us.

16 CHAIRMAN APOSTOLAKIS: Okay, let's --

17 MEMBER CORRADINI: Or a half an hour.

18 CHAIRMAN APOSTOLAKIS: Can we speed it up  
19 though because I'm going to start losing members.

20 MR. WACHOWIAK: Okay. We also have to  
21 look at initiating events. There is a process that is  
22 described in the SECYs there that is also described a  
23 little better in the Westinghouse RTNSS Topical,  
24 basically going to do the same thing.

25 And we have been through that. We don't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 see any new components coming in that way.

2 MEMBER WALLIS: On this slide here, that  
3 is where I asked you yesterday.

4 MR. WACHOWIAK: Yes, this is tough one to  
5 do at this stage for RTNSS because adverse system  
6 interactions come into play after you have done the  
7 design details and you have built the thing and you  
8 say oh, well this wasn't supposed to do that. The  
9 function of all the equipment is that there is no  
10 adverse system interactions. It is things that happen  
11 in detail design that lead to potential adverse --

12 MEMBER WALLIS: Well, it is hard to  
13 predict but it can be sometimes a thing which really  
14 is the Achilles heel of a design, I mean something  
15 unexpected in an interaction led to an undesired  
16 consequence.

17 MR. WACHOWIAK: Right.

18 MEMBER WALLIS: So it is something you  
19 have got to be aware of.

20 MR. WACHOWIAK: We have to be aware of it  
21 and in the RTNSS discussion, what we will have to do  
22 is we will have to say that this still needs to be  
23 considered throughout the design of the plant.

24 I expect that as we find these, we can  
25 design them out of the plant. But if there is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 something that later on comes up to be an interaction  
2 that we can't design around and we have to use a non-  
3 safety-related component to address it, well then that  
4 will end up going into RTNSS.

5 MEMBER WALLIS: What was said yesterday  
6 was that in reading the text, it just seemed to be  
7 very discursive and when you reached conclusions that  
8 things were insignificant, it seemed to be a little  
9 fluffy or wooly.

10 But maybe that is the way it has to be at  
11 this stage. Maybe that is the way it has to be. And  
12 maybe that is why I was expecting a more hard-nosed  
13 analysis when it is impossible to do one yet.

14 MR. WACHOWIAK: That is the case.

15 MEMBER WALLIS: Okay.

16 MR. WACHOWIAK: Okay, in the end, what we  
17 end up with is from the deterministic side, we have  
18 one of our diesel fire pumps is connected to a pair of  
19 tanks that provide enough water for seven days of  
20 decay heat removal. We said part of the Diverse  
21 Protection System, it is looking like that is going to  
22 be the manual actuation of ECCS components from the  
23 Diverse Protection System.

24 And then post-accident monitoring, which  
25 specific instruments have to be in the post-accident

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 monitoring set for after 72 hours has not been  
2 completely established yet. We are going to use the  
3 Reg. Guide 1.97 process to help us determine that.

4 MEMBER WALLIS: This external connection,  
5 is this the fire truck drives up and pumps water in?

6 MR. WACHOWIAK: Yes.

7 MEMBER WALLIS: And is there any control  
8 on the chemistry of the fire water? Does it make any  
9 difference to what happens in the long run to --

10 MEMBER SIEBER: By the fire truck.

11 MEMBER WALLIS: I would think it might  
12 make a difference. You put in some really crummy  
13 water, it might eventually gum up something.

14 MEMBER MAYNARD: Well I think any time you  
15 get to this stage in an accident, yes. That is going  
16 to be the least of your worries though. It is going  
17 to be -- long-term recovery of the plant from  
18 something like this is going to be a major issue.  
19 Probably it will never happen.

20 MR. WACHOWIAK: If the fire truck is ever  
21 actually used, that will be a big deal.

22 MEMBER MAYNARD: Right.

23 MEMBER WALLIS: You want some control of  
24 what is actually put in there in terms of what is in  
25 the water presumably.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. WACHOWIAK: I think --

2 MEMBER CORRADINI: You've got seven days  
3 to figure it out.

4 MR. WACHOWIAK: In a scenario where we  
5 have had a station blackout that has lasted longer  
6 than seven days, we probably would be less concerned  
7 about the quality of the water at that point.

8 MEMBER WALLIS: Okay.

9 MR. WACHOWIAK: And just keeping it going  
10 until we can figure out how to really get power back  
11 and do what we need to do.

12 MEMBER WALLIS: All right.

13 MR. WACHOWIAK: It is a contingency -- it  
14 is not the preferred path.

15 Things to address uncertainty, we have --  
16 our BiMAC is in RTNSS to address the uncertainty with  
17 the -- since we don't have --

18 MEMBER WALLIS: That is the one that works  
19 with 99.9 percent probability?

20 MR. WACHOWIAK: The deluge system is 99.9  
21 percent. That is our target reliability. And we need  
22 to design a system that meets that reliability. That  
23 is the commitment we have.

24 And then some of the functions of FAPCS,  
25 right now it is looking like suppression pool cooling

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and a cooled LPSI mode of FAPCS would be added to  
2 address uncertainty.

3 The last part is going into treatment.  
4 The only thing that is different from what may have  
5 been seen before is that for some of the post-72-hour  
6 capability functions, the precedent has been that  
7 these would be considered seismic category 2 buildings  
8 and components. Where that is a little -- or not a  
9 little, that's quite onerous for our design to do  
10 that.

11 So what we are saying is the things that  
12 are needed here, we will be using a combination --  
13 depending on the significance but a combination of  
14 international building codes and this new ASCE code  
15 for seismic to address things like our service water  
16 system and electrical building, things to keep the  
17 diesel generator running after 72 hours.

18 That is the end.

19 CHAIRMAN APOSTOLAKIS: Finished? Good.

20 Any more comments or questions from the  
21 members who want to be -- nothing.

22 Thank you very much, Rick. This was very  
23 informative. We appreciate your coming here for the  
24 day and a half. And we will keep in touch to set up  
25 the new dates.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 We will now break for 15 minutes until  
2 10:40. Okay. Off the record.

3 (Whereupon, the foregoing  
4 matter went off the record at  
5 10:24 a.m. and went back on the  
6 record at 10:40 a.m.)

7 CHAIRMAN APOSTOLAKIS: We are back in  
8 session. Would you please sit down or stand up but  
9 don't talk.

10 Okay, now we are going to hear from the  
11 staff. Would you please identify yourselves and tell  
12 us why you can address this committee. What are your  
13 qualifications please?

14 MR. KEVERN: Good morning. My name is Tom  
15 Kevern. I'm the Project Manager coordinating the  
16 staff's review of the ESBWR PRA. I'm going to start  
17 off and give a brief update for the staff from the  
18 project management perspective. And then Lynn will  
19 provide the staff's perspective on technical issues.

20 MS. CUBBAGE: Tom, we can't hear you.

21 MR. KEVERN: It's not working?

22 PARTICIPANT: You need to get near it.

23 MR. KEVERN: Oh, okay. Should I start  
24 over again?

25 CHAIRMAN APOSTOLAKIS: No. Well, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reporter, did you get all that? Okay. She did.

2 PARTICIPANT: She will scream if she  
3 doesn't.

4 MR. KEVERN: All right. The primary  
5 purpose of this meeting of the subcommittee was to  
6 provide GE an opportunity to provide an update on the  
7 ESBWR PRA. And Rick has done that over the last day,  
8 day and a half.

9 I'd like to point out that the staff had  
10 an opportunity to hear the same presentation and  
11 engage in extensive discussion and interactions with  
12 GE two weeks ago in two days' worth of public meetings  
13 that we hosted on PRA and RTNSS. So we are familiar  
14 with the topics and the issues and the overall  
15 presentation.

16 And I'd like to add that from a  
17 qualitative point of view, we had many of the same  
18 issues and discussion that the subcommittee has been  
19 having for this day and a half.

20 Overall, we are encouraged by GE's revised  
21 approach to RTNSS. Some of the subcommittee members  
22 mentioned in reading the material that has been  
23 provided previously it was not real clear exactly what  
24 was or was not RTNSS and how they were approaching  
25 that topic.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And so we were quite encouraged to hear  
2 what they plan to do as well as we are encouraged what  
3 plans they have for Revision 2 of the PRA. Now we  
4 have to wait and see what the information looks like  
5 when it is presented.

6           Just an update relative to RAIs. The  
7 staff's review, since the last subcommittee meeting  
8 back in April, continues. To date we have issued a  
9 total of 157 RAIs. And the review continues.

10           Just a little bit of accounting data  
11 there, the responses that we have received so far  
12 number 84. And that is what we consider both complete  
13 as well as partial submittals. So obviously remaining  
14 we've got 73 that are still outstanding.

15           And as far as supplemental information, we  
16 currently are in agreement with GE that there is a  
17 minimum of 15 that require additional supplemental  
18 information and there is likely to be more to come.  
19 That is why the plus sign is there on the 15.

20           I guess a key point on this slide is that  
21 the effect on the forthcoming Revision 2 of the PRA is  
22 to be determined. So how many of these outstanding  
23 RAIs as well as the responses are applicable and will  
24 be resolved by Rev 2 or whether we need to go back and  
25 do some type of an accounting activity or comparison

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 or exactly how we are going to treat the existing RAIs  
2 considering the scope of change that GE has told us we  
3 are going to have in Rev 2.

4 Two concerns that staff has is big  
5 picture, schedule and staff resource allocation. The  
6 schedule that Rick went through yesterday, just add on  
7 the note about the -- or emphasize the issue of COL  
8 applications, we are looking at revision -- well,  
9 Revision 2 of Chapter 19 are coming in soon. But then  
10 more importantly, Revision 3 of the entire DCD  
11 including Chapter 19 which is going to incorporate the  
12 insights and results of Revision 2 of the PRA as well  
13 as the review of Revision 2 of the PRA, and then, as  
14 we know, we've got two potential applicants have  
15 indicated that they will be submitting COL  
16 applications for ESBWR design early November of 2007.

17 So from a staff resource allocation, that  
18 presents a problem. This is not a new problem. I  
19 mean we have known about this for a while but this  
20 just highlights it with the discussion we've been  
21 having these last two days with GE. The staff ends up  
22 being tasked with doing parallel reviews on the PRA  
23 itself, on the overall design control document for  
24 certification, as well as COL applications.

25 So we are doing parallel reviews and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       tasked with doing development and preparation of SERs  
2       in parallel with a couple of different subjects. So  
3       that is the challenge the staff has. As I've said,  
4       we've known about this but we just want to highlight  
5       it in front of the subcommittee.

6               So moving on then, that is the end of my  
7       part of the presentation.

8               MEMBER MAYNARD: Just a question from an  
9       overview. Of these questions and the interactions  
10      that are going on, just kind of a perspective, how  
11      much of that is relative to required versus -- is some  
12      of this potentially driving the license applicant  
13      beyond what is required in this PRA? Or just kind of  
14      a perspective on that.

15              MR. KEVERN: Are you referring GE? Or the  
16      vendor? Or the COL applicants?

17              MEMBER MAYNARD: The vendor in this case.  
18      I'm sure your position is that all these are part of  
19      the requirements and driving it above. But, you know,  
20      sometimes the types of questions and where these  
21      things lead can drive an applicant above what is  
22      really required. I'm just --

23              MR. KEVERN: I guess the staff's position  
24      would be it is all required but in some cases, the way  
25      the RAI is worded, it would be asking for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 clarification so that the applicant and the staff  
2 member are understanding that the approach and the  
3 details of meeting the requirements are the same.  
4 That there is asynchronous -- well, there is a  
5 synchronized response or a synchronized content of the  
6 PRA or the DCD.

7 Any questions?

8 (No response.)

9 MR. KEVERN: All right. At that point,  
10 I'd like to transfer it over to Lynn.

11 MS. MRONCA: Okay. My name is Lynn Mronca  
12 and I'm the Branch Chief in the Division of Risk  
13 Assessment. My group is the PRA Licensing Branch.  
14 And I would like to introduce some of the key  
15 technical reviewers before I go into the key technical  
16 review issues.

17 First is Nick Saltos. He is also in the  
18 Division of Risk Assessment in NRR. And he is a  
19 primary reviewer for Level 1, at power, internal and  
20 external events.

21 And then we have Marie Pohida who is also  
22 in Division of Risk Assessment. And she is reviewing  
23 the shutdown issues for the PRA.

24 And then we have Ed Fuller and actually  
25 also Bob Palla but he is not here. And Ed and Bob are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 working on reviewing the Level 2 PRA.

2 And also I'd like to introduce Hossein  
3 Hamzeehee. As you know, he is going to be the Branch  
4 Chief for ESBWR and other boiling water reactors in  
5 the new reactor organization. As you know, the  
6 transition between NRR and NRO occurs on January 21st.

7 CHAIRMAN APOSTOLAKIS: So he is getting  
8 credit he doesn't deserve.

9 (Laughter.)

10 MS. MRONCA: No he just puts me here  
11 instead, right, today.

12 Okay. These last two days have been very  
13 beneficial to the staff to hear the status of the  
14 ESBWR PRA design and issues and to hear the ACRS  
15 questions and comments.

16 Several of the staff issues have already  
17 been discussed in the last two days and all of these  
18 issues that we will be talking about have been  
19 provided either formally to GE as requests for  
20 additional information or in the case of some draft  
21 RAIs that we haven't sent yet, we have discussed with  
22 GE at public meetings.

23 And I know that you have some questions so  
24 whenever you have any, I'm sure the staff will be  
25 happy to oblige, happy to answer.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Okay, the first -- we are looking at the  
2 key technical review issues in Level 1 at power,  
3 internal and external events -- common cause failure  
4 probabilities. We have already discussed that a  
5 little bit. The switch that GE is going to be doing  
6 from the alpha method to the MGL method.

7           And I think some of the staff comments  
8 were that the values of the alpha parameters were not  
9 available for some basic events in the reference  
10 databases. And that in some cases, the common cause  
11 factor probabilities were significantly lower than  
12 those used for similar components like in the AP1000  
13 design.

14           Okay, the next issue --

15           CHAIRMAN APOSTOLAKIS: You were here this  
16 morning so you heard the discussion among the members  
17 regarding the values. What is the staff's position?  
18 Do you want the applicant to use the latest -- not  
19 latest really. I mean we're talking about late '90s,  
20 early 00's, I guess.

21           The values of either alpha factors or the  
22 multiple Greek letters, is it okay to go to the  
23 utilities required document, which is kind of old, or  
24 use the more recent numbers? Is there a difference?  
25 Does the staff have a position on this?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. SALTOS: Yes, this is Nick Saltos. If  
2 I can answer this question. We are not requiring the  
3 applicant to go to the utility requirement document  
4 but for certain events, we don't have any other -- for  
5 the squib valves or software failures, we don't have  
6 any other sources. So we want them to use the best  
7 available sources.

8 CHAIRMAN APOSTOLAKIS: So if there are  
9 numbers in both the Idaho reports and the utility  
10 requirements document, you would rather see the Idaho  
11 numbers be used because they are more recent.

12 MR. SALTOS: If they are more reliable,  
13 yes.

14 CHAIRMAN APOSTOLAKIS: Well, you can't  
15 judge that. I mean they are just more recent.

16 MR. SALTOS: More recent does not  
17 necessarily mean it is more reliable especially as  
18 they apply to components used in an advanced -- in a  
19 new reactor design necessarily.

20 CHAIRMAN APOSTOLAKIS: I don't know how  
21 you want to make that judgment but anyway. Okay. So  
22 that answers it.

23 MS. MRONCA: And again, we are awaiting  
24 Rev 2 of the PRA so we can do a more detailed review.

25 The next issue, modeling of I&C systems,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I think we have talked about that a lot in the last  
2 two days. And probably with GE in other public  
3 meetings more. Just a couple of the issues that the  
4 staff had on that is that we requested simplified  
5 block diagrams to help understand the fault tree  
6 analysis and the basis of some of the common cause  
7 events, including the software failures.

8 And we feel that resolution of this issue  
9 is very important because it impacts the modeling of  
10 other PRA areas like fire risk as well as PRA  
11 applications like RTNSS. And so, again, we are  
12 awaiting Rev 2 of the PRA for that.

13 CHAIRMAN APOSTOLAKIS: So how do you  
14 handle something for which there are no accepted  
15 models for calculating failure. I mean these guys are  
16 not -- you don't expect GE to close the gaps in the  
17 state of the art, do you? It's not their business.

18 So it is important but as a community we  
19 really don't know how to do it. So we will go to good  
20 old defense in depth. And use a deterministic way of  
21 licensing reactors. So clearly you have to understand  
22 I mean those block diagrams will be very useful in  
23 going through where the signals come from and go to  
24 and what they do and all that. But putting numbers on  
25 these, I think is asking too much -- for too much.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. MRONCA: Okay.

2 CHAIRMAN APOSTOLAKIS: So that is my  
3 personal view. And I see one other member agrees.

4 MS. MRONCA: Do you have any response,  
5 Nick?

6 MR. SALTOS: Well, I'd like to comment to  
7 that. Yes, in general I agree. But we will have to  
8 certify this design with the state of the art that we  
9 have today. And what basically our philosophy is if  
10 we err, we err in a conservative way.

11 And we are looking at the high level  
12 attributes like separation, number of divisions,  
13 separation, redundancy, this kind of features. And  
14 that is what we model in the PRA.

15 Those are the assumptions that we have to  
16 have requirements to make sure that they are going to  
17 be met when the plant from this design is built.

18 And the uncertainties, by the way, before  
19 you talk about the uncertainties in the RTNSS, we are  
20 not talking about the normal uncertainties here that  
21 you quantify. We are talking about uncertainties for  
22 common cause failure. Meeting that goal of ten to the  
23 minus four with a ten to the minus six probability for  
24 common cause failure is not good enough.

25 We want to capture this in our decision

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 making. So that is the reason that we go through  
2 sensitivity studies and try to consider some more  
3 conservative values of the probabilities that we feel  
4 more comfortable about.

5 CHAIRMAN APOSTOLAKIS: Are you going to  
6 put numbers on the performance of I&C systems?

7 MR. SALTOS: We can -- the I&C system is  
8 going to have certain hardware that we have -- it is  
9 not very difficult to put failure rates on those.

10 CHAIRMAN APOSTOLAKIS: But the thing that  
11 is important there is the software.

12 MR. SALTOS: The software --

13 CHAIRMAN APOSTOLAKIS: You can't do that,  
14 right?

15 MR. SALTOS: -- yes, this is the big  
16 unknown. This is where the area of uncertainty is.

17 CHAIRMAN APOSTOLAKIS: And you will not --

18 MR. SALTOS: But we are not going to take  
19 our decision for RTNSS on ten to the minus six but we  
20 might feel comfortable about taking our decision with  
21 ten to the minus three. And based on currently  
22 available software in other industries that they can  
23 support a ten to the minus three. And considering a  
24 show of defense in depth that we have the diversity  
25 system available and has the regulatory requirements.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: I think you should  
2 rely on those. And the regulatory requirements. I  
3 don't think there is any basis for a ten to the minus  
4 three or two or five or six. These numbers are  
5 completely out of the blue and they don't mean  
6 anything. Defense in depth is the name of the game  
7 there.

8 MS. MRONCA: and I think we are looking  
9 forward to seeing what GE provides us with for review.

10 Okay. Next issue, PRA mission time. I  
11 know that GE provided the 72-hour mission time  
12 sensitivity analysis for the baseline PRA for internal  
13 events. And I guess we feel that the post-24 hour  
14 failures can be very important for RTNSS. And some  
15 important post-24-hour failures were not included.

16 And no sensitivity study with 72-hour  
17 mission time was performed for external events. And  
18 we expect that GE is going to address these issues in  
19 Rev 2 of the base model also.

20 Okay? Fire risk issues, I know we didn't  
21 go through Rick's slide on fire risks. But the  
22 following issues, again, we think should be addressed  
23 in the PRA. The potential for fire-induced spurious  
24 valve actuations causing LOCA or incorrect valve line  
25 up, smoke damage of multiple digital I&C components,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 probability of fire barrier failure and fire  
2 propagation to adjacent areas, the importance of non-  
3 safety systems in mitigating fire-initiated accidents,  
4 and impact of the I&C design on fire risk analysis.  
5 And, again, we are waiting for GE's response on that.

6 PRA input to the licensing basis, this is  
7 kind of a general issue for everybody. But some of  
8 the things that we think should be included are to  
9 identify the important safety insights related to  
10 specific design features and assumptions made in the  
11 PRA and use such insights to identify and/or support  
12 requirements for the certified design.

13 CHAIRMAN APOSTOLAKIS: Why is that a GE  
14 issue? Isn't that an agency issue?

15 MS. MRONCA: To identify the important  
16 safety insights?

17 CHAIRMAN APOSTOLAKIS: No. PRA input to  
18 the licensing basis. I mean shouldn't the agency  
19 decide what that input should be? I mean GE would  
20 just comply with whatever the agency decides. Unless  
21 I misunderstand the bullet. What does it mean? How  
22 much of the PRA becomes part of the licensing basis?  
23 Is that what the meaning is? So what does it mean?

24 MS. MRONCA: Well, maybe we were incorrect  
25 in saying licensing basis. I know that is something

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that we are thinking about now. And that is being  
2 discussed with the Commission, too, in terms of how  
3 much of the PRA, plant-specific PRA, and also the  
4 design-specific PRA are going to be submitted for  
5 review.

6 CHAIRMAN APOSTOLAKIS: That is what it  
7 means. It is a Part 52 issue.

8 MS. MRONCA: Right. It is a Part 52  
9 issue.

10 CHAIRMAN APOSTOLAKIS: Okay. So then I'll  
11 come aback to my earlier comment. This has nothing to  
12 do with ESBWR. I mean this is something the agency  
13 has to decide. So it is not an issue to raise with  
14 those guys.

15 MR. SALTOS: If I can answer this question  
16 here, an objective of the PRA review for design  
17 certification, for the ESBWR in the previous ones, you  
18 used to identify what we call certification  
19 requirements like ITAC, SSEs, RTNSS requirements,  
20 okay? This is the responsibility of both the industry  
21 and us. It is a joint effort.

22 At the end, we are going to look at what  
23 assumptions are made in the PRA and we are going to  
24 agree that the plant has to be built to meet those  
25 kinds of assumptions. So this is an effort that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 involves assumptions, involves results, involves  
2 importance, sensitivity, uncertainty analysis, all  
3 considered an integrated fashion.

4 And to identify these kinds of  
5 requirements to make sure that the assumption are  
6 going to be met when the plant reference certified  
7 design is built.

8 CHAIRMAN APOSTOLAKIS: Yes. But is there  
9 an issue there?

10 MR. SALTOS: Where it is an issue, we have  
11 to do the work. We have to identify the ITACs, we  
12 will have to identify what components go into the RAP.  
13 We have to see if a certain systems means you have a  
14 tech spec, we have to go through the RTNSS process and  
15 see what kind of system we have to have, regulatory  
16 requirements, and what kind of regulatory  
17 requirements.

18 CHAIRMAN APOSTOLAKIS: So you are asking  
19 GE to give you input to that process?

20 MR. SALTOS: Yes.

21 CHAIRMAN APOSTOLAKIS: Okay. So I suspect  
22 that the bullet is not well stated. Anyway, now --

23 MS. MRONCA: That is correct.

24 CHAIRMAN APOSTOLAKIS: -- that you  
25 explained it, it makes sense.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. MRONCA: It makes sense, okay.

2 CHAIRMAN APOSTOLAKIS: It has nothing to  
3 do with the submission of the PRA itself. It is the  
4 results of the PRA that are relevant to future tests  
5 and so on which I think is meaningful.

6 MS. MRONCA: I think one other item we had  
7 under there was -- I think Nick talked about was  
8 RTNSS. And we know that the documentation for that  
9 remains to be submitted and reviewed. So if you had  
10 any questions on RTNSS, now would be the time.

11 CHAIRMAN APOSTOLAKIS: And the thermo-  
12 hydraulic uncertainty is something that we discussed.

13 MS. MRONCA: Okay. It's over. Okay.

14 CHAIRMAN APOSTOLAKIS: For today.

15 MS. MRONCA: Yes, thermo-hydraulic  
16 uncertainty, we don't need to talk about that.

17 VICE CHAIRMAN SHACK: No, I want to know  
18 what the staff's expectations are to address the  
19 thermo-hydraulic uncertainty.

20 MR. SALTOS: Okay. I can talk about how  
21 we address the issue for AP600 and AP1000. And my  
22 understanding is that GE has committed to so something  
23 similar. Okay --

24 VICE CHAIRMAN SHACK: That is the original  
25 plan.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. SALTOS: Yes. The thermo-hydraulic  
2 uncertainties basically are unimportant in the passive  
3 system because of the -- of course, there are more  
4 driving forces. And using best estimate computer  
5 codes, there is not good enough because of the  
6 variability of the different parameters that are used  
7 in the thermo-hydraulic calculations.

8 You might come up with errors that are of  
9 the order of magnitude to the driving forces  
10 themselves. Therefore, in some systems you might  
11 think that you have enough injection lines to do the  
12 job. You might not have enough really. And the  
13 sequence might end up in core damage.

14 And before, in order to do that,  
15 Westinghouse did not calculate the uncertainties.  
16 What they did, they bound the uncertainties because  
17 calculating the uncertainties for so many sequences,  
18 it is not an easy task. It requires a lot of --  
19 probably thousands of thermo-hydraulic calculations.

20 And if they can demonstrate that the  
21 system with the success criteria they assume could do  
22 the job, it was not necessary to go and calculate a  
23 number, especially a small number, you know, that  
24 would require lots of thermo-hydraulic calculations.

25 So what they did, the first step was to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 identify what we called the low thermo-hydraulic  
2 margin risk significant sequences. In other words,  
3 the sequences that they have a frequency above a  
4 certain cut off and also they have been shown with a  
5 particular thermo-hydraulic code like a fast thermo-  
6 hydraulic code like MAAP, to have a low thermo-  
7 hydraulic margin.

8           And, of course, we had a lot of questions  
9 about do we believe MAAP. And so they did  
10 benchmarked, you know, MAAP with NORTRAN who was their  
11 licensing basis code and tried to see what are the  
12 predictions. So once they benchmarked MAAP, they used  
13 that for sensitivity -- the sensitivity around several  
14 cases of thermo-hydraulic calculations and with that,  
15 they identified those low thermo-hydraulic margin  
16 sequences.

17           And then they used the NORTRAN, the design  
18 basis code, to do the calculation for those low  
19 thermo-hydraulic margin high risk significant  
20 sequences.

21           CHAIRMAN APOSTOLAKIS: I have two  
22 questions. The first one is factual. Last time the  
23 subcommittee met you showed us an RAI that dealt with  
24 thermo-hydraulic uncertainties. Have you received a  
25 response to that?

1 MR. SALTOS: Not yet.

2 CHAIRMAN APOSTOLAKIS: When you heard this  
3 earlier today, the strategy that GE is proposing,  
4 which really says -- and it is not the same with what  
5 you just described -- essentially what they are saying  
6 is, you know, again, coming back to the valves, the  
7 seven out of eight criterion is very conservative, is  
8 extremely conservative. If we go down to five or four  
9 valves, it is the common cause failure model that  
10 saves us because if there are such large  
11 uncertainties, that it is really not worth doing any  
12 calculations on the thermo-hydraulic side.

13 Now from what you are saying, you would  
14 still like to see some calculations like what was  
15 mentioned earlier.

16 MEMBER SIEBER: Well, no. It is still the  
17 question of how many of these -- do you do the  
18 parametric calculations with MAAP? And how much do  
19 you have to do with a code like TRACG.

20 CHAIRMAN APOSTOLAKIS: Yes. If you decide  
21 to handle this issue.

22 MR. SALTOS: If I can address the common  
23 cause failure, first of all, we are talking about a  
24 variety of systems what they don't have that much  
25 diversity like the pressurization series. And then

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 when -- the common cause failure for two valves is  
2 much higher than the common cause failure of three  
3 valves.

4 So if they did thermo-hydraulic  
5 calculations so that they can show they cannot afford  
6 to lose two valves, then that would penalize them in  
7 the CDF.

8 CHAIRMAN APOSTOLAKIS: But they are  
9 already saying that they can -- oh, I see.

10 MR. SALTOS: Well they say seven have to  
11 -- they don't say seven have to work. They say that  
12 they have to be -- if I'm correct, five have to work  
13 out of eight. Okay. But if there is six to work to  
14 work out of eight means only two are allowed to fail.

15 So the common cause failure applies to  
16 two. It doesn't apply to --

17 CHAIRMAN APOSTOLAKIS: To the whole thing?

18 MR. SALTOS: Yes.

19 CHAIRMAN APOSTOLAKIS: But your argument  
20 is that this insensitivity that we talked about  
21 earlier may not be such a big deal because it applies  
22 --

23 MR. SALTOS: Yes. What I'm saying is yes,  
24 you cannot whisk this issue away because of that.

25 CHAIRMAN APOSTOLAKIS: I understand now.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 It seems that the opposition and I suspect the  
2 subcommittee's position is that we would like to see  
3 some of these parametric uncertainties propagated and  
4 see what happens if, for nothing else, for defense in  
5 depth purposes to educate ourselves and so no.

6 MR. SALTOS: In other words, even if there  
7 is an argument regarding the common cause failures,  
8 which is also in dispute now, we would still like to  
9 see those. And using a code that is running much  
10 faster than TRACG, at least for me, would give  
11 tremendous insights. I mean it doesn't have to be the  
12 complete Cadillac calculation.

13 MEMBER ABDEL-KHALIK: One of the thermo-  
14 hydraulic concerns that I am concerned about is the  
15 possibility of non-condensable gases being trapped  
16 between the squib valves and the check valves due to  
17 error in start up procedure.

18 If this line is not completely full with  
19 water, the squib valve is designed to expand the  
20 reactor pressure. And, therefore, that line up to the  
21 squib valve will be full of water. The line between  
22 the tanks and the check valves will be full of water.

23 But I haven't seen any details in design  
24 or start up procedures that would somehow assure that  
25 this space between these two valves will be full of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 water. And if that space is full of gas, then I can  
2 see all sorts of thermo-hydraulic problems associated  
3 with the operation of the gravity driven system.

4 Has that issue come up?

5 MS. MRONCA: We have thermo-hydraulic  
6 staff here if they would like to come up and address  
7 an issue.

8 CHAIRMAN APOSTOLAKIS: This is the thermo-  
9 hydraulic staff?

10 MS. MRONCA: Yes.

11 PARTICIPANT: The token staff.

12 PARTICIPANT: The usual suspects.

13 PARTICIPANT: You come on out of the  
14 woodwork.

15 MR. LANDRY: Okay. Ralph Landry, Chief of  
16 Nuclear Performance and Code Review Branch. The exact  
17 problem you are asking about we haven't looked at.  
18 But we had the auditing done at Wilmington this week.  
19 And they have raised a number of questions and several  
20 additional analyses which General Electric will be  
21 performing.

22 And I will have to check with them this  
23 afternoon when I talk with them and find out if this  
24 is run. But there were a number of questions on non-  
25 condensable gas transfer between wetwell and drywell.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 And I will have to check and see if they have looked  
2 at particular lines.

3 MEMBER ABDEL-KHALIK: Thank you.

4 CHAIRMAN APOSTOLAKIS: All right.

5 MR. LANDRY: But, yes, we have raised a  
6 number of concerns about non-condensables already.  
7 But I'm not really sure about this exact line.

8 PARTICIPANT: Did you want to say  
9 something, Mike?

10 MEMBER CORRADINI: Well, I just wanted to  
11 get back to what Bill said because I think what Bill  
12 suggested when Rick was up seems like a reasonable  
13 approach. But it is a slight bit different than what  
14 you just said. So I want to make sure I've got the  
15 two as a way just to talk it out.

16 What Bill was suggesting that seemed  
17 reasonable to me was to use something that runs faster  
18 and screen out what the uncertainties are from models  
19 versus initial and boundary conditions. And then you  
20 get some sort of subset that could get you down to a  
21 point where you would start -- some of active fuel  
22 starts uncovering.

23 And at that point, it is not clear what  
24 the vendor might chose to do. But what I hear you  
25 saying is that at that point, once you have screened

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 down to that, you would want to see some more  
2 mechanistic calculation of how the water level and  
3 uncovered core and timing of uncovering would be done  
4 with some more mechanistic model. Do I hear that  
5 right?

6 MR. SALTOS: When you say more mechanistic  
7 model --

8 MEMBER CORRADINI: Than MAAP.

9 MR. SALTOS: Yes, yes, more design basis.

10 CHAIRMAN APOSTOLAKIS: Yes, I know but I  
11 mean that is what they used for design basis.

12 MR. JENSEN: Hi, I'm Walt Jensen of the  
13 Fuel Performance and Code Review Branch. And I have  
14 been asked to look at the thermo-hydraulic  
15 calculations to support the PRA. We haven't seen  
16 those calculations yet but our one concern we have is  
17 the MAAP code which we haven't reviewed but we have  
18 seen comparisons between the MAAP code and more  
19 mechanistic models for the analysis of reactor  
20 systems.

21 And MAAP doesn't always follow the same  
22 trends. So basically just off the shelf, I think one  
23 could not support that MAAP is a best estimate  
24 computer code for the analysis of reactor systems.  
25 And it will have to be benchmarked for a particular

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 case against the more mechanistic code. So that was  
2 done for AP1000 and AP600.

3 MEMBER CORRADINI: Okay. I think -- so  
4 what I heard you say and what was just stated is  
5 similar. So know let me ask the 64 dollar question.  
6 Would the developers of TRACG believe that even TRACG  
7 is workable and mechanistic in the regime where I  
8 start uncovering for hundreds of seconds and start  
9 worrying about other physics that TRACG not  
10 necessarily has itself been reviewed for. So I'm  
11 getting a second opinion. Good.

12 CHAIRMAN APOSTOLAKIS: Ralph?

13 MR. LANDRY: Okay, Mike.

14 MEMBER CORRADINI: Hi, Ralph.

15 MR. LANDRY: Hello, Michael. We were very  
16 specific when we reviewed TRACG for ESBWR LOCA. We  
17 stated very carefully and very specifically that the  
18 review did not cover uncovering of the core --

19 MEMBER CORRADINI: Okay.

20 MR. LANDRY: -- or core heat up because  
21 the analyses that were presented at the time showed  
22 that the core never uncovered so we did not review the  
23 transition boiling nor the dome boiling heat transfer  
24 models in the code. And we stated in the conclusions  
25 that should the core ever be shown to uncover, we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 would have to reopen the review of TRACG because those  
2 models were not reviewed for adequacy.

3 So if you are talking about coming down  
4 and uncovering the core and you start to get  
5 transition boiling, we cannot make a conclusion as to  
6 the adequacy of TRACG at this point.

7 MEMBER CORRADINI: Okay.

8 MR. LANDRY: That review may come in the  
9 future because General Electric has informed us that  
10 their plan is to come in with TRACG for the operating  
11 fleet which, of course, will show core uncovering. And  
12 we will review those models at that point.

13 MEMBER CORRADINI: For DBA related?

14 MR. LANDRY: For DBA related.

15 MEMBER CORRADINI: Okay. Thank you.

16 MR. WACHOWIAK: This is Rick Wachowiak.  
17 So if they are in a situation now where some don't  
18 believe the MAAP results for anything and we have  
19 others that say that they don't believe the TRACG  
20 results if the core is uncovered, there is no thermo-  
21 hydraulic code available for us to calculate core  
22 damage.

23 MEMBER CORRADINI: That is what I was  
24 afraid of. So I guess what I'm -- so I'm getting back  
25 to what Bill suggested which seemed reasonable at the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 time. So I just keep on bringing it back up because  
2 I want to see if there is a flaw which is if you do a  
3 range of initial and boundary condition sensitivity  
4 calculations and you find within that you get some  
5 subset of core uncoverly for some amount of time.

6 And it is in that window which that Rick  
7 suggested is a window, that you know full well it is  
8 within a bigger window of potential I'll call margin,  
9 is the staff -- does the staff have a plan on what --  
10 forget GE for the moment. Does the staff have a plan  
11 of what they are going to do to analyze that to decide  
12 if it is good, bad, indifferent? That is what I'm  
13 still -- I'm still struggling with.

14 MR. LANDRY: Are you talking about PRA  
15 space?

16 MEMBER CORRADINI: Yes, let's just stick  
17 with the PRA space. Let's not deal with other space.

18 MR. FULLER: Can I take a crack at this?

19 MEMBER CORRADINI: Yes. Just PRA space.

20 MR. FULLER: Yes, I'm stick to PRA space.

21 CHAIRMAN APOSTOLAKIS: Could you identify  
22 yourself for the record?

23 MR. FULLER: I'm Ed Fuller in Division of  
24 Risk Assessment. And I happen to have a little bit of  
25 history with MAAP.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           It is certainly true that the industry  
2 hasn't submitted MAAP for review to the NRC. But on  
3 the other hand with respect to its use for success  
4 criteria determination, I'm aware -- and the NRC staff  
5 are very definitely aware that the MAAP users group  
6 has an effort under way to redo the thermo-hydraulic  
7 qualification work that was done roughly 15 years ago  
8 for both BWRs and PWRs, comparing against various  
9 experiments to benchmark some of the models.

10           And at the same time, it is recognized  
11 that these have had to be redone so they are redoing  
12 them for MAAP 4. And they are putting together a new  
13 MAAP applications document which they will be sharing  
14 with the NRC. We are anticipating seeing the very  
15 early chapters of this fairly soon because EPRI has  
16 told us that they want to send them to us.

17           It is my understanding that before 2007 is  
18 done, they will probably have this qualification --  
19 this benchmark work redone and submitted in a  
20 document, probably by the end of 2007. What does this  
21 do to our timing for the review of what we are getting  
22 for the ESBWR? It doesn't look like the timing meshes  
23 very well.

24           So -- but again, what we are talking about  
25 are applications in PRA space where one could expect

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that applications where the core might or might not  
2 uncover in a success criteria determination would be  
3 addressed.

4 CHAIRMAN APOSTOLAKIS: Is there any sense  
5 without a detailed statement of how well MAAP has  
6 performed? In other words, what are the model  
7 uncertainties? The gentleman before Ralph said that  
8 he has seen some comparisons and so on.

9 Oh, you are back.

10 MR. JENSEN: Yes, I'm here.

11 CHAIRMAN APOSTOLAKIS: So did MAAP  
12 consistently underestimate? Overestimate? By a  
13 factor of 1.325? Or by this? By that? In other  
14 words, if I see the parametric uncertainty and then I  
15 have some idea of the model uncertainty, maybe I will  
16 have some insights that are not really very detailed  
17 and accurate but at least I'll have some idea that I  
18 am not off by significant --

19 MEMBER SIEBER: Well, I mean you have the  
20 AP1000 experience with, you know, the question was,  
21 you know, was MAAP applicable to these flows with low  
22 driving heads. You know they are not exactly the same  
23 sequences here but, you know, they are low driving  
24 heads in both cases. It seemed acceptable in that  
25 particular situation. And I'm not sure --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN APOSTOLAKIS: Have you seen any  
2 other comparisons that will give us some idea about  
3 the model uncertainty there?

4 MR. JENSEN: The comparisons I'm thinking  
5 of --

6 CHAIRMAN APOSTOLAKIS: You have got to  
7 identify yourself again, sorry.

8 MR. JENSEN: Oh, I'm Walt Jensen of  
9 DSS/NRR. And for AP1000 we looked at comparisons  
10 between NOTRUMP and RELAP.

11 And we also ran RELAP calculations and  
12 compared MAAP with RELAP and it is hard to say which  
13 is the most conservative or which is under predicting  
14 or over predicting. Just the trends were different.  
15 The pressures, perhaps RELAP would decrease the  
16 pressure, slower descent and MAAP perhaps would have  
17 a sudden drop and then it would level off. And then  
18 by the end of the run, they would have about the same  
19 result.

20 Or they would predict core uncovering at  
21 about the same time but getting there, they seemed to  
22 go different routes. So when you matched one to the  
23 other for a particular plant and a particular  
24 sequence, you could say well, yes, MAAP is doing  
25 pretty good. We can use it as a scoping tool.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           But as far as saying that -- basing their  
2 conclusions on what MAAP predicting, other than just  
3 looking at a bunch of cases and finding the limiting  
4 perhaps -- limiting amount of core uncovering and saying  
5 perhaps this is the worst case, I don't think one  
6 would want to go any further.

7           It will be submitted. And there will be  
8 more benchmarking done and maybe tomorrow the MAAP  
9 will be improved.

10           CHAIRMAN APOSTOLAKIS: But even when you  
11 have different behavior, is it possible to give some  
12 sense -- to have some sense as to how far off it is  
13 even at the worst point?

14           MR. JENSEN: Yes.

15           CHAIRMAN APOSTOLAKIS: By a factor of 100?

16           MR. JENSEN: No, not a factor of 100.  
17 Maybe a factor of two.

18           CHAIRMAN APOSTOLAKIS: A factor of two.  
19 So if I have the parametric uncertainties and then put  
20 on top of them a factor of two or three if I want to  
21 be more conservative, I still get something useful  
22 which I don't necessarily have to use in a specific,  
23 you know, compare with criteria.

24           But I will have a pretty good idea, it  
25 seems to me, as to the accuracy of the calculations.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 So we are not really talking about a major research  
2 project here, are we? We are not. Because the  
3 parametric calculations, I mean Guy used to just do  
4 this routinely -- yes, Michael, they do in some --

5 MEMBER CORRADINI: I just --

6 CHAIRMAN APOSTOLAKIS: -- renowned  
7 institutions so --

8 MEMBER CORRADINI: No, I just -- the only  
9 reason I think we want to -- I don't want to bring up  
10 any more. I'm just -- sorry.

11 CHAIRMAN APOSTOLAKIS: No, but I mean --

12 MEMBER CORRADINI: But I guess what I'm  
13 seeing is though -- what has led me to my question is  
14 how you answered it relative to what could be done.  
15 And it is not necessarily trends or timing as much as  
16 it is an interval quantity.

17 I think the thing that Rick mentioned that  
18 I was -- unless I misheard him -- is that seven valves  
19 the slope was going down. At five values, the slope  
20 went up shortly but it never got close to the original  
21 temperature the fuel was at.

22 Those are the key physical phenomena that  
23 if I saw it all the same with MAAP or TRACG, then I  
24 would say I don't care about the trending because it  
25 is a matter of the stored energy. And if the stored

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 energy is causing a heat up or a cool down.

2 And that may give me a lot of confidence  
3 that given all the wiggling, it is still about the  
4 same behavior.

5 CHAIRMAN APOSTOLAKIS: It is a matter of  
6 gaining confidence at the end, that what you are doing  
7 is roughly correct.

8 Okay, I think we -- have we exhausted  
9 this? Oh, I'm sorry. Yes, Ralph?

10 MR. LANDRY: Ralph Landry again. That is  
11 an area, it has been the position that we in the DBA  
12 side of NOR have taken for years. But MAAP if you  
13 want to use MAAP to compare sequence to sequence to  
14 sequence, that is fine.

15 But if you want to use it for quantitative  
16 numbers then we have a problem because we haven't  
17 reviewed it. And the use of the of the code that we  
18 have seen, at places like the Stefan Institute in  
19 Czechoslovakia and other institutes that have used the  
20 code and compared it with codes like RELAP 5 in Polish  
21 papers, we have seen consistently that MAAP over  
22 predicts the vessel inventory by a factor of about two  
23 to two and a half.

24 So we know that the code consistently over  
25 predicts the quantity of water in the vessel. But

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that said, if you want to use the code against itself  
2 for numbers of sequences, then you can say this  
3 sequence relative to this sequence does this, relative  
4 to this sequence does this.

5 And we are not arguing with that. But our  
6 argument is what is the quantitative capability  
7 because we haven't looked at it and we haven't seen  
8 the qualification and assessment of it. Thank you.

9 MEMBER CORRADINI: Thank you.

10 CHAIRMAN APOSTOLAKIS: Rick?

11 MR. WACHOWIAK: This is Rick Wachowiak.

12 I don't know that we resolved anything with all of  
13 that. I'm still at a loss of how get to the end here.

14 We, in the time frame available, we will  
15 not be able to have the number of TRACG cases to do  
16 what Westinghouse did. What we can do is, if we  
17 identify risk significant sequences, we can have some  
18 TRACG cases. I don't know that that has been resolved  
19 on that.

20 The other thing about there being  
21 discrepancies of things like two and a half times the  
22 volume of water, that just sounds like someone didn't  
23 know how to use MAAP because you check those sorts of  
24 things when you set up your model.

25 You do a steady state run and you take the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 mass of water that is in the core and you compare that  
2 to your other calculations. Like at GE we have this  
3 process called WeVol, weights and volumes. And we  
4 compare the mass of water in the vessel to what is in  
5 the weeble calculation, which is the official  
6 calculation of that. And if there is a discrepancy,  
7 you fix it before you do and start doing other  
8 calculations.

9           So I don't understand why GE would be  
10 penalized from using a code that has been used  
11 throughout the United States and success criteria  
12 calculations for PRA because someone in Europe doesn't  
13 know how to use the code.

14           CHAIRMAN APOSTOLAKIS: But is it true,  
15 Rick --

16           MEMBER CORRADINI: We try not to let the  
17 professors use the code. That could be even more  
18 dangerous.

19           CHAIRMAN APOSTOLAKIS: Are you saying,  
20 Rick, that -- well, would it be wrong on my part to  
21 assume that you are still developing a strategy how to  
22 deal with this?

23           MR. WACHOWIAK: Well, I thought I had  
24 developed on in that we would do the parametric  
25 studies that we were being asked for. And that only

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in risk significant changes in sequence outcome we  
2 would be required to do other code comparisons.

3 I still get the feeling that the staff is  
4 going to want to see every MAAP one show the same  
5 results as every TRACG one before we will have this  
6 resolved. And I don't know that that is ever going to  
7 be achievable.

8 MEMBER CORRADINI: Can I ask is that what  
9 we heard over here?

10 MR. SALTOS: We would like to -- what  
11 Westinghouse did, okay, they used MAAP extensively to  
12 do sensitivities, decay heat, friction factors, okay,  
13 and then they benchmarked MAAP with NOTRUMP before  
14 they did those sensitivities. So they believe in  
15 those sensitivities. But they used extensively MAAP  
16 and they used NOTRUMP on for those sequences that were  
17 shown to have lower margins. Only for those they used  
18 NOTRUMP, the licensing code.

19 Now I hear here that some people don't  
20 believe in your TRACG code. That might be a problem.

21 MEMBER KRESS: It is not that they don't  
22 believe it. It just hasn't been reviewed for those  
23 things.

24 MR. WACHOWIAK: But even in going through  
25 the process of -- we could benchmark maps and TRACG

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 using the design basis calculations that were done  
2 with MAAP -- oh, TRACG, excuse me, but when we have  
3 done that, the question comes in well your design  
4 basis calculation doesn't come anywhere near  
5 uncovering the core so how do we know that when MAAP  
6 shows the core uncovering is ripe that you know that.  
7 You need to run TRACG to show the core uncovering  
8 sequences.

9 And then there are things that well that  
10 was calculated without a LOCA and you need to show  
11 that it is going to perform the same way during a  
12 LOCA.

13 And real quickly you can get to the case  
14 where Westinghouse was where it looked like in their  
15 report they had 34 different sequences that they  
16 needed to compare between MAAP and TRACG and that  
17 would be a very labor-intensive effort that right now  
18 all of our TRACG efforts are going to writing the DCD.  
19 And there is none left to go and do that piece of it.

20 So I'm still not sure where we go other  
21 than we complete the strategy that we have and then  
22 see where it goes.

23 CHAIRMAN APOSTOLAKIS: Well, move on then.

24 MS. MRONCA: Continue? Move on. Okay.

25 Not the end of that issue but for today it is.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Okay. I'll come back to vacuum breakers

2           --

3           PARTICIPANT: It wasn't much of a detour  
4 was it, George?

5           MS. MRONCA: Okay. For shutdown PRA, one  
6 of the issues and these are in the form of draft RAIs  
7 and they were discussed last week with GE at a public  
8 meeting, the first issue is a large early release  
9 frequency risk. It looks like the lower frequency is  
10 dominated by pipe breaks in an open containment at  
11 shutdown. And one of the concerns of the reviewer was  
12 that drain events and vessel diversions weren't  
13 assessed.

14           Another item was the role of the operator  
15           --

16           CHAIRMAN APOSTOLAKIS: Why early release?  
17 I thought we were just looking at large releases here.

18           MS. MRONCA: Marie, do you --

19           MS. POHIDA: The lower frequency in this  
20 plant is dominated by pipe breaks at shutdown. In  
21 fact, the lower frequency contribution at shutdown is  
22 reported to be greater than full power because  
23 basically what is projected to happen is you have a  
24 pipe break in vessel penetrations below the L3 level.  
25 And you have an open containment because the equipment

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 hatch is open with the operator failing to close it.

2 I guess you are questioning the large  
3 early release frequency as opposed to large release.

4 CHAIRMAN APOSTOLAKIS: Yes. Why do you  
5 worry about early?

6 MEMBER CORRADINI: It just happens to be  
7 early in that case.

8 CHAIRMAN APOSTOLAKIS: It just happens.  
9 We don't have to worry about it.

10 MEMBER KRESS: They are the same in this  
11 case.

12 MEMBER CORRADINI: They are the same, yes.

13 MS. MRONCA: Okay.

14 CHAIRMAN APOSTOLAKIS: I mean it wouldn't  
15 have been wrong to --

16 MEMBER CORRADINI: It doesn't make it  
17 better if it is early.

18 MS. MRONCA: Okay.

19 MS. POHIDA: I'm sorry.

20 CHAIRMAN APOSTOLAKIS: You could have said  
21 large release frequency risk then we would have a  
22 problem.

23 MS. POHIDA: Okay.

24 CHAIRMAN APOSTOLAKIS: You didn't have to  
25 emphasize the early part.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. MRONCA: Okay. I thought early had to  
2 do whether you could evacuate people before they were  
3 exposed. And that issue hasn't been -- you know that  
4 whole evacuation issue hasn't been evaluated in the  
5 shutdown PRA.

6 CHAIRMAN APOSTOLAKIS: the only reason why  
7 I asked the question is because the goal is on the  
8 release.

9 MS. POHIDA: Okay.

10 MS. MRONCA: Okay.

11 CHAIRMAN APOSTOLAKIS: So I was wondering  
12 why you had to say early.

13 MS. MRONCA: Okay.

14 CHAIRMAN APOSTOLAKIS: That is only for  
15 existing reactors. But move on.

16 MS. MRONCA: Okay.

17 CHAIRMAN APOSTOLAKIS: Here is another  
18 model that we have never reviewed. They used the EPRI  
19 models. But I guess for human error we use different  
20 standards. The model that they are using has not been  
21 reviewed by the staff. But give us now what your  
22 concern is.

23 MEMBER CORRADINI: Since he has already  
24 jumped ahead.

25 MS. MRONCA: Go ahead, Marie.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. POHIDA: Okay. Well the concern is is  
2 that what we have seen in current operating plants  
3 that -- what is dominating risk are errors caused by  
4 the operator. And it is not pipe breaks but drain  
5 down events or vessel diversions caused by the  
6 operator.

7 These type of events were not included in  
8 the shutdown PRA assessment. However, there are  
9 numerous vessel penetrations at the head and lines  
10 leading to rad waste, you know, processing sampling  
11 system, you know, how do you protect, you know,  
12 somebody from installing a free seal or, you know,  
13 mucking around the bottom of the plant that could lead  
14 to a potential diversion path?

15 Also, the auto isolation or the RWCU in  
16 the shutdown cooling system function is not included  
17 in tech specs. And this jumps back to the role of the  
18 operator, you know, what is going to be automated at  
19 shutdown and what is going to require the operator to  
20 do something at shutdown.

21 So I'm kind of jumping ahead of my slides  
22 here but the tech spec coverage of systems like the  
23 isolation condensers, the isolation of RWCU, and  
24 shutdown cooling on low level, you know, the CRDs and  
25 the SRVs at shutdown the tech spec coverage is sparse

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 right now.

2 Now I'm waiting for an update on tech  
3 specs that is due to arrive December 22nd. But my  
4 review has to be based on what I have currently.

5 CHAIRMAN APOSTOLAKIS: But I would ask Mr.  
6 Saltos do you apply to operator models the same  
7 scrutiny that you apply to TRACG? You want to see  
8 some evidence that TRACG and MAAP and whatever give  
9 reasonable results. And here you get results from a  
10 model that this staff has never reviewed and yet it is  
11 okay.

12 I mean the EPRI model they are using was  
13 never reviewed by the staff. And yet not only in the  
14 shutdown case but also at power there is a number  
15 .167, the probability that the operator will fail to  
16 recognize that something is going on and so on. So  
17 I'm wondering about that why we apply different  
18 criteria and standards.

19 MR. SALTOS: Well, we do have some RAIs  
20 with respect to the human ability analysis. But  
21 overall, I have the impression that the numbers that  
22 they are using there are on the conservative side.  
23 And this new design they are so automated and the  
24 operator actions are not as important as operating  
25 plants. And they can afford to use much more

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 conservative probabilities.

2 CHAIRMAN APOSTOLAKIS: But we will  
3 probably see new failure modes actually because of the  
4 different times. But no, I agree with you about the  
5 numbers. I looked at the numbers. Except for the  
6 dependence issue that I raised yesterday, the numbers  
7 are reasonable. I mean ten to the minus two is --  
8 common cause failure of non-safety systems.

9 MS. MRONCA: Yes. That doesn't include --  
10 I guess the RTNSS evaluation does not include common  
11 cause factor of non-safety-related systems.

12 CHAIRMAN APOSTOLAKIS: Let me understand  
13 that. You didn't do that? The non-safety-related  
14 systems you don't consider common cause? No, you do.

15 PARTICIPANT: I do.

16 CHAIRMAN APOSTOLAKIS: Yes for the control  
17 override system.

18 MS. MRONCA: Okay.

19 CHAIRMAN APOSTOLAKIS: But this is for  
20 shutdown.

21 MS. MRONCA: This is a shutdown  
22 evaluation.

23 CHAIRMAN APOSTOLAKIS: I'm sorry.

24 MR. WACHOWIAK: This is on the initiator  
25 model of the shutdown --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. POHIDA: That is correct.

2 MR. WACHOWIAK: -- before you get into the  
3 fault trees. So it would be the common cause failure  
4 of -- I think what you are specifically talking about  
5 like all the shutdown cooling pumps while shutdown  
6 cooling is in operation.

7 MS. POHIDA: Yes, the two shutdown cooling  
8 pumps, yes.

9 MR. WACHOWIAK: That is before shutdown.

10 MS. POHIDA: Because what happens is the  
11 cantilever mode of function at shutdown is provided by  
12 a non-safety-related system. So according to the  
13 RTNSS process you have to look at, either the  
14 initiating event frequency contribution for, you know,  
15 systems that are providing -- that are non-safety-  
16 related.

17 So in the RTNSS evaluation for shutdown,  
18 specifically in the initiating event frequency  
19 evaluation, common cause failure of the RWCU shutdown  
20 cooling pumps and other common cause failures of RWCU  
21 and support systems were not considered in the  
22 evaluation.

23 MS. MRONCA: Okay. Ready? And then risk  
24 impact of no containment modes four, five, and six is  
25 incomplete.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. POHIDA: Yes, we had a bunch of  
2 questions. We are trying to understand the risk  
3 impact of basically not having a containment in modes  
4 four, five, and six. One is that containment  
5 integrity is no longer required in modes five and six.  
6 Therefore, the containment can be opened up.

7 And there are certain LOCA sequences that  
8 were included in full power during LOCA sequences that  
9 were postulated to occur in mode five that were  
10 included in the full power contribution. And we had  
11 issues with that because during mode five, you could  
12 have an open containment.

13 There is also the issue of that -- in the  
14 DCD there are references that the containment isn't  
15 noted during power operation. And we also asked  
16 questions, you know, if the containment is still  
17 closed but, you know, but the containment is deinerted  
18 so people can start moving equipment in there, what is  
19 the capability of the containment to stay intact given  
20 a severe accident with the generation of hydrogen,  
21 okay?

22 So the impact of, you know, how did  
23 control at shutdown, the impact of having an open  
24 containment in mode five and six, we have a lot of  
25 questions in those areas.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. MRONCA: Okay. How about key  
2 technical review issues in Level 2 PRA in severe  
3 accidents? There are really two.

4 CHAIRMAN APOSTOLAKIS: But it is not the  
5 subject of today.

6 MS. MRONCA: Okay.

7 CHAIRMAN APOSTOLAKIS: Anything else you  
8 want to add?

9 MS. MRONCA: Basically we don't have  
10 enough information yet to review it. How is that?

11 MEMBER CORRADINI: We are interested, too.

12 MS. MRONCA: Okay.

13 CHAIRMAN APOSTOLAKIS: Any other comments?

14 (No response.)

15 CHAIRMAN APOSTOLAKIS: Thank you very much  
16 both of you.

17 Any comments on anything?

18 (No response.)

19 CHAIRMAN APOSTOLAKIS: No? Not on  
20 anything.

21 Now we are going to go around the table  
22 and you gentlemen will tell me what your first  
23 impressions are on what you have heard the last day  
24 and a half. Shall we start with Mario or Jack? Who  
25 is ready? Jack, are you ready?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MEMBER SIEBER: I struggled through a lot  
2 of the review parts assigned to me because of non-  
3 sufficient information in the design control document.  
4 And, of course, that is under revision right now. The  
5 PRA is under revision. And in the I&C section, I  
6 expect that I will be able to do a better job when I  
7 see what the revisions are.

8           I think all the other arguments that have  
9 been presented pretty clearly lay out the fact that  
10 there is a lot of work ahead of everybody in order to  
11 come to a conclusion on the PRA acceptability.

12           That's it.

13           CHAIRMAN APOSTOLAKIS: Thank you.

14           Mike?

15           MEMBER CORRADINI: No other comments at  
16 this point.

17           CHAIRMAN APOSTOLAKIS: Otto?

18           MEMBER MAYNARD: Well, I believe that both  
19 us and the staff have quite a bit to do in pulling  
20 together what is going to be required for a success  
21 path. As I sit here and listen to all of our  
22 questions and suggestions and the staff, there seems  
23 to be a lot of uncertainty as to what it is going to  
24 take to satisfy us and the staff. And from an  
25 applicant's standpoint.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           But that can be real challenging trying to  
2 shoot at a moving target and just keep trying things  
3 until either everybody gets tired or until somebody  
4 says that is okay.

5           So, you know, I think that we have a  
6 responsibility to take a look and identify what is it  
7 going to take to meet the requirements for us to be  
8 satisfied with our review. And not just keep having  
9 meetings and taking shots and going off on different  
10 paths. So I think it is a challenge.

11           CHAIRMAN APOSTOLAKIS: Okay, Tom?

12           MEMBER KRESS: Well, first off, I thought  
13 the PRA looked pretty good, very comprehensive and  
14 good event trees. But I'm anxious to see the  
15 uncertainty analysis. We didn't see much on that.

16           I think one of the key issues has been  
17 this last question we were discussing. I frankly like  
18 GE's approach. I think that is about the only way to  
19 deal with this question of the uncertainty. A good  
20 uncertainty with MAAP is going to tell me a lot, I  
21 think.

22           As far as how many benchmarks you need, I  
23 think the staff ought to do some benchmarking with  
24 maybe RELAP. I don't think TRACE is ready. But the  
25 staff ought to do a little benchmarking on that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And I think very limited TRACG  
2 benchmarking or just maybe a few sequences might be  
3 worthwhile. But I can't see requiring the full thing  
4 that they required of Westinghouse because GE doesn't  
5 have the approved code yet. And, you know, that is  
6 just state of the art.

7           MEMBER SIEBER: Well, I suspect that  
8 NOTRUMP wasn't approved for that application either.  
9 You just did it with a --

10          MEMBER KRESS: It might now have been.  
11 And I think even a few sequences with unapproved TRACG  
12 would be helpful, I think, and probably acceptable.

13          CHAIRMAN APOSTOLAKIS: Okay.

14          MEMBER KRESS: I don't know what to say  
15 about squib valves. I'm still uncertain about them.

16          CHAIRMAN APOSTOLAKIS: I'm sure another  
17 colleague will say something. That's it?

18          MEMBER KRESS: That's it.

19          CHAIRMAN APOSTOLAKIS: Thank you.

20                 William?

21          VICE CHAIRMAN SHACK: No.

22          CHAIRMAN APOSTOLAKIS: Nothing?

23                 Said?

24          MEMBER ABDEL-KHALIK: The biggest item I  
25 am concerned about is the failure of ability for the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 squib valves. And the common mode failure  
2 probabilities that are included in the analysis are  
3 primarily based on environmental issues that result in  
4 common mode failures.

5 But there are other possible scenarios  
6 where all the valves can fail simultaneously. For  
7 example, you know, in the supplier providing the wrong  
8 squib.

9 And maybe you can get around that by  
10 establishing a testing procedure for at least part of  
11 the lot that is provided every time some of the valves  
12 are replaced. But without that, somehow we need to  
13 include that possibility in the estimate of the  
14 failure probability.

15 The other issue, I mean people assume that  
16 as soon as you open the valve, water will just flow  
17 and there is no problem. And that may very well be  
18 the case.

19 But I need to be sure that either by  
20 design or by startup procedures that we don't have  
21 sort of large amounts of trapped gas between  
22 components like the squib valves and the check valves  
23 because that may have an impact on the operability of  
24 the systems.

25 MEMBER SIEBER: It is still driven by a

1 really high pressure when they open, right?

2 MEMBER KRESS: You are not worried about  
3 the squib valves, you are worried --

4 MEMBER ABDEL-KHALIK: No, I'm more worried  
5 about subsequent -- right -- I am worried about the  
6 transient after that.

7 MEMBER SIEBER: Loops and things like  
8 that.

9 MEMBER ABDEL-KHALIK: Right. You have a  
10 big bubble of gas sitting in the line --

11 MEMBER SIEBER: Okay. I understand that.

12 MEMBER ABDEL-KHALIK: -- between these two  
13 valves.

14 MEMBER KRESS: That might be particularly  
15 important for that isolation --

16 MEMBER SIEBER: Right. I understand that  
17 aspect.

18 CHAIRMAN APOSTOLAKIS: Mario?

19 MEMBER BONACA: Yes, the first thing I  
20 wanted to point out is regarding the design. I mean  
21 I was very impressed by the design. Clearly it is not  
22 complete but it seems to me that we understand from  
23 current generation of plants where the limitations of  
24 these plants were in terms of risk.

25 And the whole opportunity seems to be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 taken, for example double isolation on the  
2 penetrations and outside containment and the sources  
3 and the diversity of sources of water. I mean somehow  
4 this is pointing towards a very robust design. And  
5 because of that now the details are not in place. And  
6 I had some struggle, as Jack said, too, of identifying  
7 some of the future. But I think that, you know, I was  
8 very impressed by that.

9 I also was impressed by the PRA. Clearly  
10 it needs some pieces to be put together including  
11 observation on the shutdown risk. It is true. There  
12 are some questions open there about impact of open  
13 containment which has not been addressed in the  
14 sequences. But it needs to be.

15 It seems to me it is more like, you know,  
16 a growing pain of the PRA than anything else. So I  
17 was quite positively impressed.

18 CHAIRMAN APOSTOLAKIS: Okay. Well, I may  
19 add a couple of comments, too.

20 Yes, I mean like we shouldn't let even the  
21 extensive discussions we have had on some issues cloud  
22 the fact this is, in my view, a very good PRA. They  
23 have done a very good job. You may disagree with  
24 little bits here and there but, you know, this is  
25 natural when you have such a massive effort being

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reviewed by so many people.

2 The issue of thermo-hydraulic  
3 uncertainties, yes, we still have to do some work.  
4 But I don't see any showstoppers there. I think the  
5 insights that we will gain from the sensitivity  
6 analysis that GE plans to do there may be some  
7 questions from the staff to expand it a little bit,  
8 that would be good enough for me.

9 So overall, I'm really very impressed by  
10 the PRA effort and I might add also by the defense  
11 that Rick provided the last day and a half. I was  
12 very impressed by that, too.

13 So it seems like we have a lot of  
14 impressed people around here.

15 MEMBER CORRADINI: Can I ask -- so from a  
16 timing standpoint, just -- I want to understand, the  
17 timing standpoint is that when we get back together  
18 for the Level 2 discussion, there will be some  
19 sensitivities relative to how we enter into the thing  
20 so that we can discuss this further? Because I guess  
21 I am kind of sympathetic to his concern that he is not  
22 clear of a path forward for acceptability. And I  
23 don't want to leave that somewhat fuzzy.

24 That has to be clear, otherwise --

25 CHAIRMAN APOSTOLAKIS: Yes, yes, that is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 very true. And that will be a factor in determining  
2 the date of the meeting of the subcommittee.

3 So with that, unless anyone wants to add  
4 anything, thank you very much. Thanks to the  
5 presenters and the staff. And this subcommittee  
6 meeting is adjourned.

7 (Whereupon, the above-entitled  
8 subcommittee meeting was concluded at 11:50 a.m.)

9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25