

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY**  
**COMMISSION**

Title:                   Advisory Committee on Reactor Safeguards  
                              Thermal Hydraulic Phenomena Subcommittee

Docket Number:   (not applicable)

Location:             Rockville, Maryland

Date:                 Wednesday, June 14, 2006

Work Order No.:    NRC-1091

Pages 1-230

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

SUBCOMMITTEE ON THERMAL HYDRAULICS PHENOMENA

+ + + + +

RESEARCH ACTIVITIES RELATED TO RESOLUTION OF GSI-191

+ + + + +

WEDNESDAY,

June 14, 2006

+ + + + +

The Subcommittee meeting convened at the Nuclear Regulatory Commission, Two White Flint North, Room T-2B3, 11545 Rockville Pike, at 8:30 a.m., Graham B. Wallis, Chair, presiding.

SUBCOMMITTEE MEMBERS PRESENT:

- |                    |             |
|--------------------|-------------|
| GRAHAM B. WALLIS   | Chair       |
| MARIO BONACA       | ACRS Member |
| RICHARD B. DENNING | ACRS Member |
| THOMAS S. KRESS    | ACRS Member |
| OTTO L. MAYNARD    | ACRS Member |
| WILLIAM J. SHACK   | ACRS Member |
| JOHN D. SIEBER     | ACRS Member |

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

ACRS STAFF PRESENT:

RALPH CARUSO

NRR STAFF PRESENT:

RALPH ARCHITZL

DAVE CULLISON

THOMAS HAFERA

WALT JENSEN

PAUL KLEIN

WILLIAM KROTIUK

SHANLAI LU

TOM MARTIN

MIKE SCOTT

STEVE UNIKEWICZ

LEON WHITNEY

MATT YODER

ALSO PRESENT:

ANN LANE

Westinghouse

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

A-G-E-N-D-A

Overview/Introduction, M. Scott, NRR . . . . .	4
Chemical Effects, P. Klein, NRR . . . . .	28
Coatings, M. Yoder, NRR . . . . .	61
Downstream Effects	
General, S. Unikewicz . . . . .	82
Fuel, T. Hafera, W. Jensen, W. Krotiuk . . . . .	104
Prototypical Strainer Testing, S. Lu, NRR . . . . .	137
Audit Progress, D. Cullison, NRR . . . . .	172
Path to Resolution, L. Whitney, NRR . . . . .	205
Concluding Remarks, M. Scott, NRR . . . . .	212

1

1

P-R-O-C-E-E-D-I-N-G-S

2

8:32 a.m.

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

CHAIRMAN WALLIS: Good morning. The meeting will now come to order. This is the second day of the meeting of the Subcommittee on Thermal Hydraulic Phenomena of the Advisory Committee on Reactor Safeguards. We are going to continue the subject we discussed yesterday PWR sump performance. Yesterday we heard from research and today we are going to hear from NRR. I invite Mike Scott to get us going.

MR. SCOTT: Thank you, Dr. Wallis. I would like to say that we are pleased to come before you and brief you again on this subject. We have made some progress since we last talked to the Subcommittee in February and the full Committee in March. We've got a long way to go as we'll communicate with you.

I'm going to start off with a short discussion, sort of a summary of where we've been and an outlook of where we're going and then we'll get into the individual technical subject areas that I know you are primarily interested in hearing about today.

Since we last talked to you, actually

1 right about the same time as we talked to you, we sent  
2 requests for additional information to all the PWR  
3 licensees to address gaps in the Generic Letter  
4 responses. We subsequently agreed to an industry  
5 request to defer those responses for several reasons.  
6 No. 1 is we agreed that the industry should keep its  
7 focus on the design and installation of larger sump  
8 strainers.

9           As we discussed with you the last time we  
10 were here, we see that as the most important thing  
11 that we can do in the near-term, especially given the  
12 various technical issues and uncertainties regarding  
13 GSI-191. We strongly believe that installation of  
14 larger strainers will enhance safety.

15           Also, as we discussed yesterday, there is  
16 ongoing work. For example, the alternate buffer  
17 testing that the industry is currently doing that may  
18 in the end change the solution to GSI-191 for one or  
19 more plants. We believe that it is appropriate at  
20 this point to not require additional information  
21 responses because the answers simply aren't available  
22 for those plants. The work is ongoing.

23           We sent the industry a letter in March  
24 that said that we would agree to the following that  
25 you see in the second two sub-bullets under the second

1 bullet which is for plants that install their new  
2 strainers, or their enhanced strainer sump  
3 installations in 2006, we have requested and they have  
4 agreed to provide responses to our RAIs and/or  
5 supplemental responses to the Generic Letter by the  
6 end of December of 2006. I'll show you in a few  
7 slides how many plants that involves.

8 For plants that install strainers after  
9 2006 we are expecting the responses within 90 days  
10 after the outage that installs those strainers or at  
11 the latest by December of 2007. Those submittals are  
12 expected to fully address the Generic Letter 2004-02  
13 items including providing basis for the adequacy of  
14 the sump designs.

15 We also submitted a SECY paper to the  
16 Commission which provided a status on GSI-191,  
17 discussed our plans for path forward, and also  
18 provided criteria that the staff plans to use for  
19 review of any requests from any licensees for  
20 extension beyond the December 2007 deadline for  
21 completing actions to address Generic Letter 2004-02.

22 Since that time we have received -- I  
23 guess this is slightly behind the times now. We have  
24 six extension requests in. One of them we are still  
25 considering. We approved four and rejected one. We

1 approved the four consistent with the second criteria  
2 which involved showing a substantial improvement in  
3 the sump design, typically a much larger strainer.

4 Some of the plants came in with requests  
5 that said, "We are going to put our new larger  
6 strainers in in fall 2006 but we have additional  
7 modifications that we want to make."

8 For example, to downstream valves that are  
9 going to necessitate waiting until the next outage for  
10 all the plants that have made these requests those  
11 outages would be in spring 2008. We are going to have  
12 a much better design but we have some details to take  
13 care of that we are asking for those to be taken care  
14 of in the 2008 spring outage.

15 CHAIRMAN WALLIS: Mike, you are going to  
16 have responses from how many different utilities?

17 MR. SCOTT: Are you speaking of the  
18 previous slide?

19 CHAIRMAN WALLIS: Well, both of these  
20 together. There were 69 reactors or something like  
21 that?

22 MR. SCOTT: There are 69 and so if you --

23 CHAIRMAN WALLIS: Are they going to have  
24 an RAI for each one of those, RAI responses?

25 MR. SCOTT: What they have the option to



1 do is either respond to the RAIs item by item or to  
2 provide a supplemental Generic Letter 2004-02 response  
3 that addresses all those RAIs.

4 CHAIRMAN WALLIS: Have to describe the  
5 basis for the sump design and operations and  
6 everything.

7 MR. SCOTT: That's correct.

8 CHAIRMAN WALLIS: Someone has to review  
9 all these?

10 MR. SCOTT: Yes. The staff.

11 CHAIRMAN WALLIS: This is a full-time job  
12 for how many people?

13 MR. SCOTT: Well, right now there are  
14 eight staff members working on GSI-191. Of course, we  
15 have some folks who are working on it part-time, too.  
16 As I'll show you in a couple of slides here, because  
17 we are asking for some of the responses to be in by  
18 the end of 2006 and other to be in throughout 2007, we  
19 don't anticipate getting all of these responses in in  
20 the last quarter of December '07 but there will be a  
21 substantial number of them.

22 CHAIRMAN WALLIS: It is conceivable that  
23 some of these sump designs will prove to be inadequate  
24 when examined by your staff?

25 MR. SCOTT: Yes, that is conceivable in

1       which case additional actions may be needed.

2

3                   CHAIRMAN WALLIS:  Is there some way --  
4       would we have any involvement in this process at all,  
5       the ACRS?

6                   MR. SCOTT:  We will continue to brief you  
7       on the audits and we will brief you at the time we get  
8       the Generic Letter responses on what we are finding.

9                   CHAIRMAN WALLIS:  Okay.  And there will in  
10      the public record these responses?

11                  MR. SCOTT:  They will.

12                  CHAIRMAN WALLIS:  And the sump designs  
13      will be in the public record?

14                  MR. SCOTT:  To the extent the information  
15      is not proprietary.

16                  CHAIRMAN WALLIS:  But they have to include  
17      in their responses what you call the basis for  
18      adequacy of sumps.

19                  MR. SCOTT:  Correct.

20                  CHAIRMAN WALLIS:  So there must be quite  
21      a bit of technical basis which is in the public  
22      record.

23                  MR. SCOTT:  That would be my assumption,  
24      yes.

25                  CHAIRMAN WALLIS:  Okay.  So if we wish to,

1 or if someone else wished to, they could examine these  
2 and see how believable they were and hopefully they  
3 would all be believable.

4 MR. SCOTT: Right. As you know, and as I  
5 mentioned to you all yesterday, because we don't have  
6 these responses yet, we don't know at this point the  
7 approaches that the industry -- we don't know in  
8 detail the approaches that the industry are going to  
9 take plant by plant to address the issue. Once we  
10 start getting those responses in, we are going to get  
11 a lot more informed.

12 CHAIRMAN WALLIS: So let's say a master  
13 student at a university could take as his thesis  
14 examination of these sump designs and efficacy or  
15 efficacy or however you want to pronounce it.

16 MR. SCOTT: Sure.

17 CHAIRMAN WALLIS: Okay. That might be  
18 interesting to do. Thank you.

19 MEMBER DENNING: It might give a feeling  
20 to the experimental work that is going to go on with  
21 models of their screens. How does the timing of that  
22 relate to when the installation will occur? Do you  
23 have a feeling? I mean, will some of that testing  
24 occur after installation has actually occurred?

25 MR. SCOTT: Okay. The testing I assume

1 you are referring to is the vendor testing?

2 MEMBER DENNING: The vendor testing.

3 MR. SCOTT: Most of the vendor testing  
4 that was scheduled has been done. As a matter of  
5 fact, we are leaving today to watch some of the last  
6 of it after we are done briefing you.

7 MEMBER DENNING: Most vendor testing has  
8 been done?

9 MR. SCOTT: Right. There is a fair chance  
10 that because they did most of that testing before  
11 chemical affects issues have been resolved, there may  
12 be additional testing needed. We'll have to see how  
13 that plays out.

14 MEMBER DENNING: And when will you -- you  
15 say you are going to observe the results or something?

16 MR. SCOTT: We'll talk to you. Shanlai Lu  
17 will talk to you in some detail about each of the --  
18 well, not much detail but he'll mention the vendor  
19 designs and talk about the fact that we are going to  
20 see, or have been to see all of the vendor designs.  
21 Some of the testing is actually going to happen this  
22 summer so there is some of it yet to come but a lot of  
23 it is already completed.

24 MEMBER DENNING: So you haven't actually  
25 seen their experimental design yet as to what their

1 plans really were and what the spectrum of conditions  
2 are that they are running with. You'll see that after  
3 you go talk with them now?

4 MR. SCOTT: We have seen some vendor  
5 testing of some plants. Remember, each vendor will  
6 have half a dozen or more licensees. Each licensee  
7 will have a plant specific situation so the testing is  
8 not identical one to one. We are not attempting to  
9 watch the testing for every licensee. We are watching  
10 representative testing so we have seen some of that  
11 and we have some more to do.

12 CHAIRMAN WALLIS: There will be testing  
13 for each plant based on the particular conditions at  
14 that plant do you think?

15 MR. SCOTT: That is correct.

16 CHAIRMAN WALLIS: And there will be some  
17 module which is tested and then there will be many  
18 modules installed in a plant so there has to be some  
19 way of designing for the many-module situation.

20 MR. SCOTT: As we have mentioned to them,  
21 and I think we noted for you all a couple of months  
22 ago, we expect them to show that the vendor testing  
23 can be scaled to actual plant conditions.

24 MR. WHITNEY: This is Leon Whitney of NRR.  
25 Just for the record, we expect approximately 40

1 responses for the 69 plants. Some plants are tested  
2 identical.

3 MEMBER BONACA: So there will be  
4 groupings?

5 CHAIRMAN WALLIS: It looks to me as if  
6 everything is going along so fast that most decisions,  
7 not all, will be made before ACRS has any chance to  
8 comment on any of this.

9 MR. SCOTT: Well, I don't see it playing  
10 out fast. Now, what is going on expeditiously is the  
11 installation of the strainers that we have talked  
12 about and I'll show you a slide in a minute that will  
13 give you a time line for that. The resolution of the  
14 generic letter is going to be an ongoing process over  
15 the next 24 months. I guess I don't see how that is  
16 going to happen rapidly.

17 CHAIRMAN WALLIS: I just wonder if we have  
18 any influence at all and it would not be good for us  
19 to come in after it's all being done with some  
20 criticism of what has been done. That is not the way  
21 we like to operate. We like to operate by influencing  
22 what is going to be done in the proper way.

23 MR. SCOTT: Right. We can come in and  
24 brief you in the responses. When responses start  
25 coming in, which we anticipate is the end of this

1 year, we can come in and talk to you about that.

2 CHAIRMAN WALLIS: I think it is very much  
3 up to you to design it so that we are going to have  
4 some effect that can be useful and not be in anyway  
5 upsetting at the end. We don't want to have to look  
6 at something at the end after it's all been done and  
7 then have to wait a letter if we find there are some  
8 holes in what has been done. If there is any place  
9 where we can influence events in a way which is  
10 positive, we would like to do it early.

11 MR. SCOTT: I agree, but the issue,  
12 though, is until we start getting the responses in it  
13 will be limited. The staff is going to talk to you  
14 today about some review guidance that we are  
15 developing. We believe that review guidance is going  
16 to tend to be iterative based on what we see when  
17 responses come in. There are going to be several  
18 opportunities along the way here for you all to be  
19 involved, as you said.

20 CHAIRMAN WALLIS: Thank you.

21 MEMBER SIEBER: I think the greatest  
22 difficulty that I see in this whole thing is the  
23 licensees are being asked to design and install  
24 strainers before the research is completed that will  
25 tell the NRC staff to review it and what the design

1 parameters ought to be. To me that is sort of a  
2 perplexing situation.

3 One outcome of that would be that the  
4 strainers the licensees design won't be adequate to  
5 meet the conditions that we eventually determine are  
6 going to be in the plant. I think there will be  
7 modifications that will come later as a result of the  
8 review. The strainer goes in before the letter is  
9 written.

10 MR. SCOTT: Let me make a point on that if  
11 I might. Having looked at the designs that the  
12 utilities are coming up with, they are installing very  
13 large strainers. At least in order of magnitude  
14 greater than the size that is in there now. It may  
15 well be that at the end of the day if the analysis  
16 shows that those very large strainers are not enough  
17 in some plants, then those plants will have to  
18 consider modifications that aren't likely to include  
19 larger strainers.

20 They could include and we have encouraged  
21 the industry to remove problem materials when they  
22 can. If a very large strainer won't handle it, then  
23 there is probably a problem materials issue that the  
24 plant needs to address.

25 MEMBER SIEBER: That's what I would do



1 first if I were a licensee now.

2 MR. SCOTT: Some of them are actually  
3 doing those things in parallel. They are removing  
4 insulation that is a problem at the same time they are  
5 enlarging their strainers.

6 CHAIRMAN WALLIS: We know very little  
7 about downstream effects so far.

8 MR. SCOTT: We are going to talk to you  
9 some about that today.

10 CHAIRMAN WALLIS: This could change what  
11 is a good strainer, what is a bad strainer.

12 MR. SCOTT: I suggest we hold that in  
13 abeyance.

14 CHAIRMAN WALLIS: Okay. We'll hear about  
15 it later today.

16 MR. SCOTT: Okay. Moving on here we have  
17 conducted an audit of Watts Bar implementation of  
18 actions to address Generic Letter 2004-02. This is  
19 our first audit and we are not completely done with it  
20 yet. We are done with the looking part and we are in  
21 the writing the report part and waiting on the RAI  
22 responses from the licensee. We'll talk to you all  
23 about this audit also today.

24 We met with the PWR Owners Group,  
25 previously known as the Westinghouse Owners Group to

1 discuss concerns and industry plans regarding in-  
2 vessel downstream effects. We accepted a topical  
3 report on chemical effects review that you'll hear a  
4 little bit more about today.

5 CHAIRMAN WALLIS: This is a Westinghouse  
6 report?

7 MR. SCOTT: Yes. A WOG, PWR Owners Group  
8 Report. Paul Klein will talk to you all about that  
9 today.

10 CHAIRMAN WALLIS: It's a WCAP report of  
11 some sort?

12 MR. SCOTT: Yes, it is a WCAP.

13 CHAIRMAN WALLIS: I think we have that,  
14 don't we? This is the one which tells you how to make  
15 your surrogates.

16 MR. SCOTT: Yes.

17 CHAIRMAN WALLIS: Okay.

18 MR. SCOTT: We have also received a  
19 revised topical report on downstream effects. A  
20 little bit of background on this. The staff had made  
21 some informal comments on the downstream effects  
22 topical report late last year and Westinghouse  
23 addressed those comments and submitted a topical  
24 report formally for staff review. We just got it, I  
25 believe, last week. That is, by the way, downstream

1 effects mostly X vessel.

2 CHAIRMAN WALLIS: That's a WCAP?

3 MR. SCOTT: It is, yes.

4 CHAIRMAN WALLIS: Is there anything on in-  
5 vessel effects?

6 MR. SCOTT: I'll talk about that in just  
7 a second.

8 CHAIRMAN WALLIS: Okay.

9 MR. SCOTT: We developed a plan to perform  
10 confirmatory analysis of the potential for in-vessel  
11 flow blockage and we are going to talk to you about  
12 some of the results of that today.

13 CHAIRMAN WALLIS: That means research when  
14 you say confirmatory analysis?

15 MR. SCOTT: It means NRR and research  
16 working together. We'll talk to you about that.

17 We are conducting multiple observations of  
18 strainer testing as I mentioned earlier and  
19 documenting the results of that. What we are doing in  
20 the way of documentation is making the trip reports  
21 that show our comments on the various vendor testing  
22 practices available to the licensees that are using  
23 the services of that vendor by putting them on Adams  
24 and informing the licensee of the availability of the  
25 document in the public library.

1                   We also discussed a planned topical report  
2                   on in-vessel downstream effects with the Owners Group  
3                   and the Owners Group plans to begin development of the  
4                   WCAP to address that subject. They were to get  
5                   approval from their management to start that report  
6                   this month so obviously since they haven't started  
7                   writing that one yet, that is a few months down the  
8                   line before we are actually going to see it.

9                   We developed action plans for the major  
10                  GSI-190.

11                  CHAIRMAN WALLIS: Go back to this. You  
12                  are going to have this report written. Is there  
13                  enough knowledge available to write this report?

14                  MR. SCOTT: Which report are you referring  
15                  to?

16                  CHAIRMAN WALLIS: The in-vessel downstream  
17                  report.

18                  MR. SCOTT: The knowledge will be  
19                  developed. Again, we are going to talk to you about  
20                  that.

21                  CHAIRMAN WALLIS: I remember from the  
22                  other report I read, I think it was WCAP, it seemed to  
23                  say these are the things you need to calculate but it  
24                  didn't indicate if it was known how to do it.

25                  MR. SCOTT: Clearly the purpose of the

1 report is to provide that guidance.

2 CHAIRMAN WALLIS: So you are confident  
3 that it is known how to predict these downstream  
4 effects?

5 MR. SCOTT: I'll just wait and see what  
6 they come up with when they write their report.

7 CHAIRMAN WALLIS: Because we don't know.  
8 Maybe you don't know either.

9 MR. SCOTT: I don't know. However, I do  
10 have staff who are more knowledgeable than I am who  
11 will talk to you more a little later today and maybe  
12 they will be able to provide you more perspective.

13 As I said, we developed action plans for  
14 the major technical sub-issues. For any of you who  
15 were at the May meeting, then you are aware that we  
16 discussed those chemical effects, coatings, downstream  
17 effects, and head loss testing plans with NEI and the  
18 industry in May. We communicated the plans and the  
19 related expectations.

20 The purpose of those meetings, actually we  
21 met with NEI and we also met separately one at a time  
22 with each strainer vendor, was to focus the industry  
23 and the NRC on the additional work needed to resolve  
24 the GSI. Also another point that we came up with was  
25 to include plans for review guidance which you all

1 recommended to us in your last letter.

2 As the staff reviews the topical reports,  
3 two are in and one more to come, NRC sponsored  
4 research reports, as you heard yesterday, research is  
5 busy writing their NUREGs and getting them approved.  
6 We'll be looking at them over the next several months  
7 and determining how best to use those research  
8 results.

9 We'll also have the generic letter and the  
10 REI response submittals that will start to come in  
11 towards the end of this year. Those results will  
12 provide us the information we need to determine  
13 whether changes to our plans are needed.

14 As I mentioned to you yesterday, we can't  
15 say with security that the information the licensees  
16 is going to provide us is going to fully address GSI-  
17 101. Once we have the information you see on the  
18 slide available, we will better be able to determine  
19 if a course change is needed.

20 Enhanced sump installation, as we have  
21 said several times, that remains the top near-term NRC  
22 priority. We are confident that will substantially  
23 reduce the risk posed by this issue. Changes  
24 generally involve much larger strainers also in  
25 concert with other things that you see here. There is

1 discussion among the industry regarding changes in  
2 containment, pH buffers based on the research results  
3 that have been appearing and that you all were briefed  
4 on yesterday, as well as the ongoing work that the  
5 Owners Group is doing to address alternate buffers.

6 CHAIRMAN WALLIS: You say will  
7 substantially reduce risk of sump clogging. Do you  
8 have a measure of that risk and how much it has to be  
9 reduced by?

10 MR. SCOTT: We do not have a quantitative  
11 analysis of the risk. When you take a strainer that  
12 previously had 40 square foot of surface area and you  
13 raise that 2,400 square feet, then we have an  
14 expectation that risk is reduced.

15 CHAIRMAN WALLIS: Well, yeah, but is it  
16 reduced enough or what? How do you know it's good  
17 enough?

18 MR. SCOTT: We don't. Again, when we get  
19 the information, we will then have that information in  
20 hand to make a determination as to whether enough has  
21 been done and if enough has not been done, then we  
22 will determine how best to proceed.

23 CHAIRMAN WALLIS: You better we sure that  
24 it doesn't enhance the risk of some downstream  
25 effects.

1                   MR. SCOTT: We believe that is not the  
2 case and, again, we will talk to you about that today.  
3 This just shows you --

4                   CHAIRMAN WALLIS: The main risk is, of  
5 course, to the core and it's not really sump clogging.  
6 It's what is the effect of all of this on the  
7 effectiveness of long-term core cooling and all the  
8 effects that this will have on that.

9                   MR. SCOTT: That is correct.

10                  CHAIRMAN WALLIS: Thank you.

11                  MR. SCOTT: This slide shows the time line  
12 for installation of larger sump strainers. As you can  
13 see, some plants -- a few of them, actually, had  
14 already done it, Davis-Besse, for example, and Diablo  
15 Canyon. Several are doing it this spring. Many are  
16 doing it this fall and then the remainder -- most of  
17 the remainder over spring and fall of 2007. The  
18 spring 2008 plants are associated with the extensions  
19 that I talked to you about a few minutes ago. As you  
20 can see, the industry is proceeding on this and moving  
21 forward.

22                  CHAIRMAN WALLIS: So that means that 33 we  
23 finished this year and they will give their responses  
24 to the letter by December?

25                  MR. SCOTT: That is correct, 33.



1                   CHAIRMAN WALLIS: About half of them will  
2 be done this year.

3                   MR. SCOTT: Close to half, yes. As I  
4 said, industry is moving forward to reduce the risk of  
5 sump clogging and to develop their licensing bases for  
6 the new configurations they are going to install. The  
7 path forward to issue resolution is consistent with  
8 the NRC developed action plans that we are going to  
9 talk to you all about today.

10                  The NRC approach remains that the issues  
11 have been identified to the industry and the industry  
12 needs to show resolution in accordance with the  
13 schedule that we've established. As I mentioned to  
14 you earlier, as the issue proceeds and the state of  
15 knowledge continues to evolve and we determine that is  
16 not a path to ultimate success for resolution of the  
17 Generic Safety Issue, then we will take additional  
18 actions as needed. That concludes my presentation.

19                  CHAIRMAN WALLIS: I'm wondering about this  
20 knowledge base. You started me thinking a little bit  
21 here. The knowledge base has been expanding in the  
22 last few years. There have been some surprises. For  
23 instance, there was no consideration of the chemical  
24 effects. It was considered in certain significant --  
25 really significant effects or discovered. We don't

1 have much of a handle on quantifying them.

2 We just know there is a significant effect  
3 on the sump conditions being demonstrated. On the  
4 business of head loss we have discovered that certain  
5 things can happen in the way in which the stuff is put  
6 on the screen which make a considerable difference to  
7 the pressure drop. These are things that were  
8 discovered by research. It seems likely that there  
9 might be similar discoveries as the knowledge base  
10 evolves.

11 MR. SCOTT: There could well be.

12 CHAIRMAN WALLIS: But you guys are not  
13 doing research anymore. Is that right?

14 MR. SCOTT: There is some research that --  
15 well, you heard what was happening yesterday.  
16 Mostly --

17 CHAIRMAN WALLIS: It's winding up. They  
18 are writing reports.

19 MR. SCOTT: Most of it is winding up and  
20 the staff has made the decision to require the  
21 industry to do the testing necessary to determine --

22 CHAIRMAN WALLIS: Your expectation is that  
23 any future surprises or effects which weren't  
24 anticipated, let's say, will be discovered by  
25 industry, not by the staff.

1                   MR. SCOTT: In general the information  
2 that remains to be found we believe will be found by  
3 this testing. If, however, it comes from another  
4 source, then we will adjust the plan accordingly.  
5 Again, we have flexibility in how to proceed with  
6 this. Any other questions? Okay. Next up is Paul  
7 Klein.

8                   CHAIRMAN WALLIS: Let's see, this  
9 knowledge base. The knowledge base you have  
10 established is in the open literature or is available.  
11 Isn't it?

12                   MR. SCOTT: It will be.

13                   CHAIRMAN WALLIS: The testing that's done  
14 is not going to be in the open literature. Is that  
15 true? How does the public or somebody of interest  
16 know the results of the testing done by these vendors?  
17 Is that all proprietary?

18                   MR. SCOTT: The results of the testing as  
19 applicable to a particular plant will need to be  
20 submitted to us by that plant.

21                   CHAIRMAN WALLIS: But it will be in the  
22 public record?

23                   MR. SCOTT: It may or may not be. If it's  
24 proprietary information, then it might be withheld.

25                   PARTICIPANT: It's still available to



1 something that looks at these?

2 MR. SCOTT: We'll have closeout packages  
3 for the Generic Letter.

4 CHAIRMAN WALLIS: We'll see that perhaps  
5 later.

6 DR. LU: We can talk about that later.

7 MEMBER DENNING: I just have one more  
8 question for you, Mike, and that is are there any  
9 specific plants or categories of plants that just  
10 really don't have enough space to give as much  
11 additional size to the screens as one would like? Are  
12 there some obvious potential limiting plants?

13 MR. SCOTT: There are two plants currently  
14 that are considering active strainers and one could  
15 infer from that that they might have space  
16 considerations. The strainers that are being talked  
17 about by in large are on the order of a couple of  
18 thousand square feet. That's of stuff. Takes up lots  
19 of floor space. Any other questions for me? Thank  
20 you.

21 CHAIRMAN WALLIS: Thank you very much,  
22 Mike.

23 MR. KLEIN: Good morning. I'm Paul Klein.  
24 Today I would like to provide you an update on status  
25 and plans in the chemical effects area.

1                   MR. YODER: My name is Matt Yoder and I'll  
2 be assisting Mr. Klein this morning.

3                   MR. KLEIN: We really have two purposes of  
4 the presentation. One is to provide an update of  
5 staff and industry activities since the last time we  
6 spoke to you in the spring. And also to try and  
7 discuss some of the plans moving forward to resolve  
8 some of the technical issues related to the chemical  
9 effects.

10                  In particular I would like to address  
11 three different areas today. The first bullet is  
12 related to a PWR Owners Group WCAP report that we  
13 received, "Evaluation of Post-Accident Chemical  
14 Effects in Containment Sump Fluids to Support GSI-  
15 191." We received that report. We accepted it for  
16 review and the review is in progress at this point.  
17 The second area relates to some meetings that have  
18 been referred to previously we had with NEI and  
19 various vendors.

20                  CHAIRMAN WALLIS: This WCAP you're  
21 viewing, that is the one that says how to make  
22 surrogates. Isn't it? It doesn't say anything about  
23 their effect on head loss? Is that right?

24                  MR. KLEIN: They have a very small section  
25 on filterability in the WCAP.

1                   CHAIRMAN WALLIS:  There aren't a whole lot  
2                   of equations and things that say if you have aluminum  
3                   this is how you calculate the head loss due to gel.

4                   MR. KLEIN:  That is primarily related more  
5                   to generation of --

6                   CHAIRMAN WALLIS:  Generation of the stuff,  
7                   not its effects.

8                   MS. LANE:  Excuse me.  I'm Ann Lane from  
9                   Westinghouse.  I was the program lead on that WCAP.  
10                  The intent of the WCAP was to provide input to the  
11                  individual screen vendors for head loss testing so the  
12                  filter --

13                  CHAIRMAN WALLIS:  On how to produce the  
14                  materials?

15                  MS. LANE:  Yes.

16                  CHAIRMAN WALLIS:  Not on the expected  
17                  defecto.

18                  MS. LANE:  No.  The filterability test  
19                  which Paul referred to were actually a criteria  
20                  established to determine if the surrogates were  
21                  adequate.

22                  MR. KLEIN:  The third area we will discuss  
23                  this morning is related to staff visit to observe some  
24                  of the alternate buffer tests that are being sponsored  
25                  by the PWR Owners Group.  With respect to WCAP-16530,

1 as I mentioned before, we are currently reviewing --  
2 at this point the staff has only done a partial review  
3 of the documents so I had not planned to discuss many  
4 details from that document at this point today,  
5 although I will in a few slides address some of the  
6 issues that we see that might generate RAIs related to  
7 this document.

8 As far as schedule, the target date for  
9 draft RAIs is the end of July of '06. We put a target  
10 date for an SE in May '07 with the understanding that  
11 there may be additional testing that is necessary in  
12 order to address some of the staff RAIs.

13 What the staff has done since the last  
14 time we spoke to the Committee we developed action  
15 plans in a number of the key technical areas including  
16 chemical effects. The purpose of the action plan was  
17 to try and highlight some of the key technical issues  
18 to show important interfaces that exist between NRR  
19 research and industry. Also to try and identify a  
20 path forward to resolve these issues.

21 We had a three-day meeting in May of those  
22 six where we discussed these issues with NEI, the  
23 industry, and screen vendors and established paths  
24 forward for issue resolution. We also heard from the  
25 screen vendors who outlined their approach in the



1 chemical effects area. We have a total of five  
2 vendors and their approach varies.

3 Some vendors are further along in how they  
4 plan to address chemical effects and others. Staff  
5 will be making a number of visits to vendors over the  
6 summertime to gain a greater understanding of how they  
7 intend to approach chemical effects from the test  
8 standpoint.

9 MR. CARUSO: Would it be possible for us  
10 to get a copy of this action plan and the path  
11 forward?

12 MR. KLEIN: I think the path forward will  
13 be described in some of the slides that we'll present  
14 this morning. The action plan, I don't know the  
15 answer to that. I will discuss that with management.

16 MR. CARUSO: Path forward. Is there a  
17 document that is written down that says this is our  
18 current path forward?

19 MR. KLEIN: Yes, it's part of a document.

20 MR. CARUSO: Would it be possible to get  
21 a copy of that document?

22 MR. KLEIN: I'll discuss that with  
23 management. It is a working document. It is  
24 certainly not ready to be shared with the Committee at  
25 this point.

1                   MR. YODER: The document in question is an  
2 internal staff document. If you look at the notes  
3 from the NEI meeting as well as the slides that we are  
4 going to present today, the issues that we're talking  
5 about are essentially that action plan. When we are  
6 describing the path to resolution, that essentially is  
7 the action plan we are referring to.

8                   MR. SCOTT: Ralph, just to add a little  
9 more to that, the action plans amount to a table or a  
10 matrix and you have the gist of those in the  
11 discussions that we're doing today.

12                  CHAIRMAN WALLIS: I reviewed the visual  
13 aids for this meeting that you had in May and it  
14 seemed to be words describing approach and plans which  
15 sounded okay. My conclusion from it all is the devil  
16 is going to be in the details. It's a bit like in  
17 1943 saying, "We are going to land troops on the west  
18 south of Naples and we are going to sweep the Germans  
19 out of Italy." That is a big plan but, as you know,  
20 it took a lot of doing and the devil was in the  
21 details. I think that may well be the case with this  
22 one.

23                  MR. KLEIN: I agree with you that will be  
24 the case here. As we get to the tail end of this and  
25 we start talking about review guidance, I think you

1 will hear it will be an iterative process and we will  
2 be learning as we go along and we digest information  
3 from a number of sources.

4 MEMBER SHACK: Paul, as I read the WCAP it  
5 seems to me the plan is they are going to make up a  
6 certain amount of chemical product and argue about how  
7 representative that is and they are going to basically  
8 add that to their demonstration test. Is that the  
9 basic approach that most of the vendors are taking?  
10 They are following the WCAP recipe to make a product  
11 and then adding it for a head loss test?

12 MR. KLEIN: I think it varies depending on  
13 the vendor. Certainly some of them have indicated  
14 they will be following the WCAP so we think it will be  
15 critical to interact with the Owners Group on the  
16 details of how you generate these products and assure  
17 ourselves that those really are representative  
18 products.

19 Really there's a number of technical  
20 facets I think that are involved and this slide tries  
21 to hit on the chemical model itself since some of the  
22 vendors will be relying on that and it will become an  
23 area of focus for the staff. I think we have a few  
24 questions, more than a few questions, that will be  
25 interaction with the Owners Group on the chemical

1 model.

2 CHAIRMAN WALLIS: How long you do the test  
3 for, too. We heard yesterday with some of these  
4 chemical effects that they may not show up  
5 significantly for several days.

6 MR. KLEIN: That's a good point. The test  
7 may depend on the environment that the test is  
8 conducted with.

9 MEMBER DENNING: Are you using some of  
10 Research's contractors to help you in the technical  
11 review of that report in coming up with REIs?

12 MR. KLEIN: Yes, we have a member of the  
13 peer review panel that has been contracted to help  
14 with the review of the WCAP.

15 MEMBER DENNING: Now, is that the peer  
16 review panel we heard about yesterday as opposed to  
17 the contractors that have been doing the research on  
18 the chemical effects?

19 MR. KLEIN: It's the peer review panel you  
20 heard about yesterday from the Office of Research.

21 CHAIRMAN WALLIS: I would think you would  
22 use some of the people who have learned from their own  
23 research, people we heard from yesterday.

24 MR. KLEIN: We have discussed that as well  
25 with Research and it is a point well received. The

1 top three bullets here really identify interactions  
2 that the staff will have with various members of  
3 industry and licensees. The bottom two things that  
4 we'll discuss at the backend of the presentation  
5 related to more internal activities trying to  
6 coordinate efforts with the Office of Research and  
7 then also develop review guidance.

8 CHAIRMAN WALLIS: Are you going to have  
9 some sort of acceptance criteria? That's all based on  
10 the cooling, isn't it, head loss and so on?

11 MR. KLEIN: I think the overall acceptance  
12 criteria will be related to demonstrating that you  
13 meet the available NPSH margin so there is a head loss  
14 requirement.

15 CHAIRMAN WALLIS: Is it going to be  
16 probabilistic? How are you going to handle  
17 uncertainties? Are you going to look for 95/95 or  
18 something? What are you going to do? There are a lot  
19 of uncertainties associated with these things.

20 MR. KLEIN: I agree there are a lot of  
21 uncertainties. I don't know that we will get that a  
22 95/95 solution. The licensees will need to  
23 demonstrate to us that whatever design decisions they  
24 have made have satisfied the uncertainties associated  
25 with chemical effects. Within the review of the WCAP

1       itself I tried to highlight in this slide a few of the  
2       key issues to be addressed. You might argue that the  
3       first sub-bullet validation of the WCAP chemical model  
4       covers everything.

5                   We obviously have questions about  
6       limitations of separate effect testing. I believe  
7       separate effect testing can be informative. It  
8       probably has its place along with integrated testing.  
9       There are questions as to whether you get synergistic  
10      effects when you start to combine different plant  
11      containment materials.

12                   CHAIRMAN WALLIS: You certainly do.

13                   MR. KLEIN: Yes. We will be questioning  
14      Westinghouse about their model. I think some of the  
15      other items that I've listed here, main areas of  
16      discussion will include chemical surrogates, whether  
17      the surrogate that you are generating is the  
18      appropriate surrogate and then if you can identify the  
19      appropriate surrogate, can you assure yourselves in a  
20      follow-on head loss test that you have the materials  
21      behaving in a similar manner as it would in a plant  
22      situation.

23                   There will be questions about evaluation  
24      of materials that might not be included within the  
25      test matrix and the last item, "Test matrix

1       assumptions may include things that were considered  
2       but not included within the test matrix."

3                   MEMBER SHACK:  There are some things that  
4       are really strange in the WCAP.  If you reduce the  
5       amount of aluminum oxy hydroxide you get taking the  
6       aluminum off and then the sodium aluminum silicate  
7       which you sort of never saw in an integrated test.  
8       Eliminate 90 percent of your aluminum hydroxides by  
9       taking it off and illuminating.  Very strange.

10                   MR. KLEIN:  One of the areas in the WCAP  
11       that the staff will question they have a table that  
12       identifies their best guess estimate of precipitates  
13       that were formed.  I think we have some questions  
14       about how those were identified and whether there  
15       might be more appropriate techniques to better  
16       quantify what precipitated during those tests.

17                   This next slide here is related to  
18       interactions with strainer vendors.  One of the points  
19       we made with the vendors at the May meeting is that  
20       the staff really needed to get their hands around the  
21       strainer vendor approach.  We need to understand if  
22       they are planning to introduce chemical surrogates how  
23       that will be done, how they will assure themselves  
24       that they are simulating both chemically and  
25       physically the properties of expected chemical

1 product. I would say at this point we have five  
2 vendors and a number of them are further ahead than  
3 others in their development of chemical effects.

4 CHAIRMAN WALLIS: So the status of things,  
5 we heard from Mike that most of these vendors have  
6 already tested their strainers but they haven't yet  
7 used chemical effects. Is that right? The new aspect  
8 is the chemical effects testing?

9 MR. KLEIN: I think it is vendor specific.  
10 Some vendors have completed their strainer tests.  
11 Others still have a number of tests to be performed.  
12 You are correct, the chemical effects part seems to be  
13 a part that will be developed after some of these  
14 other tests.

15 Another item identified on the slide and  
16 one of the questions the staff has is if you don't  
17 form a continuous bed or you form a sparse bed, can  
18 you claim not to worry about chemical effects as a  
19 result of that? One of the things we'll be looking  
20 for is some type of demonstration that if you generate  
21 chemical effects, will there be any type of bridging  
22 over a clean screen or partially covered screen.

23 CHAIRMAN WALLIS: It might be synergistic  
24 effects. If you have fibers that somehow slip through  
25 the screen and go around the loop, then when they get



1 sticky with some sort of aluminum gel, then they might  
2 stick around so it's not just a question of one effect  
3 by itself. The things affect each other.

4 MR. KLEIN: I agree.

5 CHAIRMAN WALLIS: That formation in itself  
6 may be affected by the chemical effects. What was a  
7 sparse bed without chemical effects may not be a  
8 sparse bed with chemical effects.

9 MR. KLEIN: I think that is one of the  
10 items we are asking licensees to demonstrate to us by  
11 testing.

12 CHAIRMAN WALLIS: You're going to think up  
13 a lot of questions like that.

14 MR. KLEIN: Unfortunately we have a lot  
15 more questions than answers at this point.

16 CHAIRMAN WALLIS: But they are going to  
17 give you the answers. If you have too many questions,  
18 it will take them too long to do the experiments. You  
19 will have to slip your schedule.

20 MR. KLEIN: It's possible that chemical  
21 effects may be addressed later than many of the other  
22 issues within GSI.

23 CHAIRMAN WALLIS: Addressed after they put  
24 the screens in. It seems to be.

25 MR. KLEIN: Yes.

1                   CHAIRMAN WALLIS: They are rushing to put  
2 half the screens in this year. It may just not be  
3 possible to do all the chemical effects testing this  
4 year so they will find out afterwards.

5                   MR. KLEIN: I think that there are  
6 strainers that have been installed already that they  
7 have to do the work after the fact to verify that  
8 their strainer is adequate.

9                   The next two slides try to put in tabular  
10 format some of the items we discussed with industry  
11 and that we have covered in the past few slides. The  
12 intent was to not walk through each one of these with  
13 you but to show that there are a number of actions  
14 that both the NRC and industry is expected to take to  
15 make progress on some of the issues that we have  
16 identified in the chemical effects area.

17                   I think some of the key things are the  
18 chemical model, the use of chemical surrogates,  
19 understanding conditions outside of what might have  
20 been tested within the number of tests that have been  
21 performed thus far.

22                   CHAIRMAN WALLIS: To go back to my  
23 schedule here, you're not going to have this SE out  
24 until May next year, is it?

25                   MR. KLEIN: That's the target date at this

1 point.

2 CHAIRMAN WALLIS: And so the method will  
3 not be approved by you until then presumably unless  
4 they are going to go ahead and use it now because of  
5 the schedule they are on.

6 MR. MARTIN: If I could just interject  
7 here for a moment. I'm Tom Martin, Director of  
8 Division of Safety Systems. Actually, this week I'm  
9 also the Associate Director of Engineering and  
10 Systems.

11 I am picking up a theme here of some  
12 uncomfortableness with regard to our overall approach.  
13 Let me just remark that we recognize the situation is  
14 an unorthodox situation but if you look at the facts  
15 as we understand them now, these plants are operating  
16 with screens that are quite marginal. The sizes are  
17 on the order of, as Mike mentioned, tens of square  
18 feet.

19 There is a huge variety of designs and  
20 configurations that really makes large scale testing  
21 quite challenging. It would be wonderful if we could  
22 design some kind of a large scale test but in reality  
23 we would have to do many different configurations in  
24 order to make that practical.

25 Also the industry volunteered to proceed

1 with these modifications before sending the RAI  
2 responses. Actually before having developed a  
3 complete understanding of this issue, we discussed  
4 that internally at relatively high levels within the  
5 staff and we determined that the most optimum approach  
6 to mitigating this situation was to proceed in this  
7 direction. I recognize that puts the ACRS in an  
8 awkward situation.

9 As we go through this, we are hopeful that  
10 the Committee could help us to identify some of these  
11 situations. You have been helpful in pushing us in  
12 the direction of focusing more on downstream effects,  
13 of looking at some of these synergistic effects that  
14 have been pointed out.

15 We still are providing feedback to the  
16 industry, to Westinghouse, on the WCAP, to the Owners  
17 Groups, to the screen vendors because we are going out  
18 and witnessing all of these tests so that we are still  
19 staying involved as we go through this process. We  
20 still have an opportunity to interject ourselves in  
21 hopefully key areas so we get an opportunity to make  
22 some changes.

23 I recognize that there is a distinct  
24 possibility and the industry recognized that there is  
25 a distinct possibility that this may turn out to be an

1       iterative approach.  However, given the fact that we  
2       have these 69 plants operating now with marginal  
3       screens, we believe this is in the best interest of  
4       everyone to proceed in this direction.

5               Our approach on resolving this issue also  
6       is largely deterministic.  We are applying a  
7       reasonable assurance that the limiting situations are  
8       appropriately handled.  We are trying to incorporate  
9       risk insights whenever possible using that general  
10      approach.  If there are some other opportunities that  
11      the Committee has to point us in the direction where  
12      we might be more risk informed, we would also welcome  
13      that opportunity.

14             I thank you for your attention.

15             CHAIRMAN WALLIS:  That's helpful.  You  
16      mentioned that ACRS might be in an awkward situation.  
17      Actually, it may be an easier situation for us because  
18      you are going ahead and there is nothing much we can  
19      do to change your force.  We just have to wait and see  
20      how it works out.  We may not have to do anything.

21             We have had our say.  We have written some  
22      letters.  We have encouraged certain kinds of  
23      research.  We have asked some questions and you have  
24      responded and now I feel you are ready to take some  
25      action and you are taking it.  It may be that this is

1 the time to bow out and see how it works out.

2 MR. MARTIN: If that is your --

3 CHAIRMAN WALLIS: I'm just speculating.

4 MR. MARTIN: That would be your call.

5 However, we do feel it is an opportunity for us to  
6 allow the members of the Committee to give us some  
7 insight --

8 CHAIRMAN WALLIS: Sure, if we can help.

9 MR. MARTIN: -- as we are going through  
10 this direction. We recognize, you know, that there is  
11 not a high level of comfort here that when we are done  
12 with this that we are going to have as high a level of  
13 assurance that we have nailed this issue, so to speak,  
14 that it might actually be an iterative type process.  
15 Given that, I think --

16 CHAIRMAN WALLIS: That's all right. You  
17 are following a plan, though, and you have this  
18 process and you realize there may be some things you  
19 have to fix along the way that you can't predict  
20 everything ahead of time.

21 MEMBER SIEBER: Well, the proof of the  
22 pudding will be when all is said and done and the  
23 installations are made do they actually satisfy the  
24 requirements.

25 MEMBER DENNING: And are those technically

1       defensible requirements.  But I think that there is an  
2       important issue and that relates to what ACRS is going  
3       to have to consider and that is is there any reason  
4       that one would say don't go ahead with these until you  
5       learn more.  Personally I don't think that is the  
6       right answer.

7                   I mean, right now I think you are on the  
8       right course.  I think although we have concerns about  
9       downstream effects and that type of thing, were I in  
10      your position I would do exactly what you're doing  
11      right now which is have them proceed expeditiously to  
12      increase screen size.

13                   MEMBER MAYNARD:  I agree with that.  I  
14      believe that the interest of safety is best served by  
15      the current pethidine.  It may be frustrating.  It may  
16      still have some iterative processes to go through but  
17      I think that overall it is the responsible thing to  
18      do.  I also believe that some of these uncertainties,  
19      especially with the chemical effects.

20                   I'm not sure that the screens are going to  
21      ultimately be the solution to that anyway.  I believe  
22      even the screens themselves, I think the issue is  
23      really going to be in removing or changing the  
24      chemical effects to where they are not -- I don't  
25      think the screen is necessarily the solution.  I think

1 they are on a good path here.

2 MEMBER SIEBER: I hope that enough comes  
3 out of all the research to be able to say the screens  
4 will work or they will not work. That is still a  
5 little --

6 CHAIRMAN WALLIS: That's up to industry.

7 MEMBER SIEBER: That's up to the staff  
8 really, you know. The industry will say, "Yeah, they  
9 work and here's all the things we considered and we  
10 made them so big that the next step will be to enlarge  
11 containment to fit in a bigger screen."

12 MEMBER DENNING: Since there are more  
13 people of the staff here today than there were  
14 yesterday, I think one of the messages that at least  
15 some of us were trying to convey yesterday is that you  
16 reduce the risk of having a major embarrassment at the  
17 end of this by continuing to do some focused research.

18 I think there has been very good progress  
19 made in this area of chemical effects and I'm more  
20 optimistic now that if one continued to do that work,  
21 that you'll be in a position to put to bed some of  
22 these issues rather than stopping the research now and  
23 saying we are far enough along in our understanding.

24 MEMBER KRESS: I would like to second that  
25 notion. Particularly on the chemical effects I think



1 the idea would be to find out what level of aluminum  
2 it takes in containment to research this depth of  
3 function where it takes off on the delta P. I  
4 wouldn't do delta P measurements. I would find out  
5 where the break point is and then the fix is not have  
6 that much aluminum in your containment.

7 I particularly think more research is  
8 needed also on the coatings, particularly in two  
9 areas. One is I don't think we have a good notion of  
10 the particle size generated by the LOCA from these  
11 coatings and I don't think we have definitive  
12 transport models. I think we should continue the  
13 research in those areas.

14 MR. MARTIN: Thank you for your feedback.  
15 One comment on the chemical effects issues. There are  
16 parallel paths that are being pursued and one of those  
17 paths involves the industry looking for alternate  
18 buffers. As we become more educated on the impacts of  
19 trisodium phosphate and sodium hydroxide as buffering  
20 agents, the industry may very proceed to remove those  
21 and choose some other buffer at some point. These  
22 parallel paths are ongoing and I do believe this is  
23 the most -- maybe not the most efficient but it is the  
24 most effective path at the moment. Thank you.

25 MEMBER SIEBER: Well, I agree that it's

1 the quickest path. I also agree that I think the  
2 predominant effects have been identified and enough  
3 testing has been done to demonstrate that those  
4 effects are there, chemical effects, downstream  
5 effects.

6 There are a couple areas that I think  
7 deserve some more attention. Going back to the  
8 basics, janam pinchment I think requires a little more  
9 attention, how much do you generate in the first  
10 place. On the other hand, if the idea is to improve  
11 safety as soon as one can practically do so, I think  
12 the path is correct.

13 CHAIRMAN WALLIS: There is also the  
14 question about what you are going to do about head  
15 loss which is the bottom line of this thing. You are  
16 going to calculate a head loss and see if it's  
17 adequate but small enough that the pump can operate.  
18 Is this head loss going to be predicted just from the  
19 tests where they throw in a lot of stuff and see what  
20 the head loss is on the screen and then extrapolate to  
21 the plant? Or is there some way it's going to be  
22 interpreted using some sort of theoretical model?

23 If it is, then there needs to be some work  
24 on that model. If you are not going to use a model,  
25 if the decision has been made just to use purely

1 empirical approaches, then maybe you don't need more  
2 research on the model. If you are going to use a  
3 model, we have a model we heard about yesterday which  
4 is an improved window with the previous and takes  
5 account of the facts which were not considered before  
6 which have been observed. Is that model going to be  
7 left sort of half finished and not properly validated  
8 to be looked at some time in the future, or is it  
9 going to be used?

10 I don't know if you have made a decision  
11 yet if you are going to use models and what kind of  
12 models, or is it all going to be empirical, or are you  
13 just going to wait and see what industry comes up with  
14 and then respond? What have you done about the head  
15 loss? What are you going to accept for a prediction  
16 of the head loss for these installations?

17 MR. SCOTT: Shanlai, do you want to come  
18 up and speak to that?

19 CHAIRMAN WALLIS: Are you going to talk  
20 about that later today?

21 MR. SCOTT: Okay. We'll talk about it in  
22 his presentation.

23 CHAIRMAN WALLIS: Research that might need  
24 to be done which is why I brought it up here. You may  
25 need to do more research on the head loss, too.

1 MR. KLEIN: Shall I continue?

2 CHAIRMAN WALLIS: Unless you want us to do  
3 some more research.

4 MEMBER SIEBER: If you know where you  
5 were.

6 MR. KLEIN: At the risk of going  
7 backwards, I did want to make one comment, Dr. Wallis.  
8 You had mentioned we wouldn't have an SE out until May  
9 of '07. I did want to point out we have had a number  
10 of discussions with Westinghouse on their WCAP both  
11 prior to when they performed those tests and during  
12 public meetings so they do have a number of the stat  
13 spots on some of the issues related to that testing.

14 I'll try to cover this relatively quickly  
15 here. The only thing probably to point out here is  
16 the recognition that there probably will be additional  
17 issues that are raised in the chemical effects area  
18 and we do expect to continue to learn as we go as we  
19 receive more information from tests that are both  
20 performed by research and industry and screen vendors.

21 Before we get to the latter two focus  
22 areas that talk about internal NRC staff activities,  
23 I wanted to give you a brief update on some of the  
24 alternate buffer tests that are being performed. For  
25 the PWR Owners Group at Fauske & Associates the staff

1 visited that facility in April of 2006. The project  
2 involves trying to identify potential replacement  
3 buffering agents for sodium hydroxide and trisodium  
4 phosphate which reduce the potential for chemical  
5 precipitate generation.

6 They are carrying buffers that they are  
7 evaluating in addition to benchmarking the sodium  
8 hydroxide and TSP. They are looking at sodium  
9 tetraborate which is currently in use in all these  
10 condenser plants as well as several new buffering  
11 candidates. Their approach is a multi-phased  
12 investigation.

13 CHAIRMAN WALLIS: The sodium  
14 tripolyphosphate is somehow much better than trisodium  
15 phosphate?

16 MR. KLEIN: Yes, sir. Tripolyphosphate is  
17 different than the orthophosphate such as TSP in that  
18 it's less likely to form precipitates.

19 CHAIRMAN WALLIS: It doesn't make calcium  
20 phosphates then when you mix it with cal-sil?

21 MR. KLEIN: One of the things that they  
22 did as part of these tests on the bottom bullet here,  
23 they added either calcium chloride in one case or  
24 aluminum nitrate in another case to try and evaluate  
25 suspectability to precipitate formation. In the

1 calcium case they added an amount to get about 400 PPM  
2 dissolved calcium level. With that addition, of  
3 course, with TSP you saw a whole lot of precipitate.  
4 With the tripolyphosphate it was a very, very small  
5 amount.

6 MEMBER KRESS: TSP was put into the sprays  
7 to enhance the movement of iodine?

8 MR. KLEIN: TSP is not injected in the  
9 sprays. It's in baskets in the bottom of containers.  
10 Yes, the idea is to buffer the containment pool pH to  
11 remove iodine.

12 MEMBER KRESS: To enhance the spray  
13 effectiveness?

14 MR. KLEIN: I think the goal is to get the  
15 pH above a value of 7.

16 MEMBER KRESS: That is to keep the iodine  
17 from re-evolving from the sun. It is also to enhance  
18 the effectiveness of the spray.

19 MR. KLEIN: Correct.

20 MEMBER KRESS: I don't see on here any  
21 evaluation of the new buffers effectiveness in  
22 enhancing the spray. I'm sure the pH control will do  
23 the thing for the sun for the re-evaluation but I'm  
24 not sure it effectively enhances the sprays. Are  
25 there any plans to look at that?

1                   MR. KLEIN: The staff at the backend of  
2 the one-day visit to Fauske we discussed a number of  
3 issues with Westinghouse and Fauske. I guess our  
4 overall perception is that these were good tests but  
5 they seemed to be screening tests which is appropriate  
6 when you are looking at new materials. There may need  
7 to be additional tests needed in order to develop an  
8 appropriate technical basis for a plant to use one of  
9 these new buffers.

10                   MR. SCOTT: If I might add, clearly if a  
11 plant were to come in with an application to change  
12 its buffer and it has design or licensing criteria  
13 that relate to the functions of that buffer, then they  
14 are going to have to show that those criteria continue  
15 to be met.

16                   MEMBER SIEBER: I think one thing to  
17 consider are the plants that were designed in the late  
18 1960s and early 1970s did not have hardware provisions  
19 for a buffer so the adequacy of spray systems was  
20 established without considering that effect. Then  
21 those plants were backfit in order to control iodine  
22 and to get Part 100 down. If it was adequate with no  
23 buffer, it is probably adequate now. I think that is  
24 just a secondary benefit that one gets out of a  
25 buffered system

1                   MEMBER DENNING:  But you saw an advantage  
2                   there because the TID source term.  I think alternate  
3                   source term would not be, you know, less important.  
4                   I think it's important to be above seven to prevent  
5                   iodine evolution in the longer term.

6                   MEMBER SIEBER:  But I would rather  
7                   physically take steps to reduce iodine if it's  
8                   practical to do so than to go to an alternate source  
9                   term where the dose is really still there.  We just  
10                  count for it differently.

11                  MEMBER MAYNARD:  But, again, I think  
12                  the --

13                  MEMBER SIEBER:  Personal preference.

14                  MEMBER MAYNARD:  I think any change that  
15                  a plant does make whether it be in hardware, the  
16                  chemicals, or whatever, they are going to have to  
17                  address any of that that affects their licensing.

18                  MR. KLEIN:  The next slide provides, I  
19                  guess, a staff perspective on buffers.  We have  
20                  learned a good deal of information from the research  
21                  sponsored tests both at the University of New Mexico  
22                  and at A&L.  Within the TSP environments we observed  
23                  that you can get significant head loss if you have  
24                  dissolved calcium levels for that particular loop  
25                  configuration greater than 25 parts per million.



1                   With the sodium hydroxide it appears to be  
2                   a more complex process. It depends on a number of  
3                   things including time, temperature, and pH. We did  
4                   see that with concentrations on the order of 30  
5                   percent of the ICET 1 value there was significant head  
6                   loss.

7                   Contrast that with what was observed for  
8                   sodium tetraborate it was tested -- when it was tested  
9                   at a level that was consistent with ICET 5 there was  
10                  no increase in head loss. It was only after they  
11                  added another 50 PPM of dissolved aluminum that the  
12                  head loss began to take off.

13                  Based on those observations and also on  
14                  some of the precipitation observation we have at  
15                  Fauske we think there are options for industry  
16                  depending on their plant specific environment to  
17                  choose a buffer that may produce less chemical effects  
18                  than they have in their existing configuration. The  
19                  staff is encouraging industry to take a hard look at  
20                  alternate buffers as one of the potential solutions.

21                  Given the amount of information from a  
22                  variety of sources, the question that I'm sure you  
23                  have for us is where are we headed. I think there are  
24                  really two key things that we need to do at this  
25                  point. One, we need to have continued interaction

1 with research but it is important that we -- research  
2 has done a lot of good work in the area of chemical  
3 effects.

4 I think it is very important that NRR  
5 digest that information, that we understand the  
6 important parameters. As Robin indicated yesterday,  
7 there will be an RIL coming out that will identify  
8 remaining technical issues in the area of chemical  
9 effect.

10 Based on the information that is available  
11 from both that, from what we have learned from vendor  
12 visits, licensee audits, and observing industry-  
13 sponsored head loss tests, our intent is to provide  
14 recommendations for our management around the  
15 September time frame on what might be appropriate  
16 additional confirmed for research moving forward.

17 Then in conjunction with that another key  
18 part is to try and use all the information that we  
19 have --

20 CHAIRMAN WALLIS: So if you recommended  
21 research -- excuse me -- in September, this would get  
22 into the 2007 budget?

23 MR. KLEIN: I think there is some money  
24 available in the 2007 budget that we might be able to  
25 take advantage of. I'm not sure of the amount but our

1 intent would be to try and do some of that work within  
2 the next budget if necessary.

3 With respect to review guidance I think it  
4 would use a similar approach as to what I described  
5 for recommendations on additional research. We need  
6 to try and digest a lot of the information that has  
7 been made available. We also need to hear from  
8 industry on the results that they are obtaining in  
9 some of their own testing. We need to assemble that  
10 all and put together review guidance.

11 We understand that it may not be a final  
12 product at this point but it certainly is something  
13 that needs to be put together to help focus us to  
14 ensure consistent reviews moving forward. We do  
15 expect to iterate on that guidance over time as we  
16 learn new information from various sources.

17 In summary, though, it is important to  
18 remember that licensees have the lead and the ultimate  
19 responsibility on evaluating their plant specific  
20 chemical effects and resolving the outstanding  
21 technical issues. Part of what the acceptance  
22 criteria would be in the area of chemical effects, of  
23 course, is that they would demonstrate that their head  
24 loss from all sources including chemical effects is  
25 less than the available NPSH for the entire ECCS

1 mission time.

2           It would also need to have a good  
3 technical basis that shows that any uncertainty in  
4 chemical effects head loss is bounded by their  
5 available margins and they would need to evaluate  
6 potential chemical effects on downstream components.  
7 Our plan is to use confirmed research to independently  
8 evaluate those licensee evaluations.

9           CHAIRMAN WALLIS: That would include any  
10 sort of heat exchanges, cold spots, and things like  
11 that and everything. Downstream is everything the  
12 water goes through in the long-term cooling.

13           MR. KLEIN: Downstream would include all  
14 the heat exchangers, piping, vessel, etc.

15           That concludes my presentation material.

16           MEMBER DENNING: I have a question. I'm  
17 not sure you are the proper recipient of it but the  
18 source term that can potentially wind up on the  
19 screens has various stages. There is the production  
20 of insulation material and then transport down to the  
21 sump. Then within the sump there is transport. Then  
22 in the near vicinity of the screen there's transport.

23           The industry previously developed an  
24 approach for production and transport down to the sump  
25 that I think NRR has blessed previously. Is that

1 basically the state of affairs today? That is, as you  
2 look at the source term that now can potentially get  
3 onto the screen, do you accept what industry had  
4 previously proposed as far as the techniques they used  
5 to say how much material is produced and then the  
6 transport fraction down to the sump and then you are  
7 going to take it from the sump on through the screen  
8 testing. Is that basically the way it is?

9 MR. KLEIN: I'm going to look for help to  
10 address that question. I think with respect to  
11 chemical effects, one of the things that we would look  
12 for is that the relative arrival time of chemical  
13 products will be consistent with how we think they  
14 might be generated and transported in a plant  
15 condition.

16 In other words, if you have a calcium  
17 phosphate that might form immediately, we would expect  
18 that to potentially be added with debris relative to  
19 one that might be generated over time that might  
20 arrive after the debris is formed.

21 DR. LU: Shanlai Lu from SSIB. Overall we  
22 consider that SE proved the NEI guidance report. In  
23 terms of transport it's still conservative. In terms  
24 of the chemical effects and the precipitates, at this  
25 point I think it is the assumption that it is 100

1 percent transportable. Therefore, I don't think that  
2 is an issue in terms of --

3 MEMBER DENNING: That the chemical  
4 products are 100 percent transportable?

5 DR. LU: At this point, yes.

6 MEMBER DENNING: But as far as the amount  
7 of fibrous insulation and debris that make it to the  
8 sump, you are kind of accepting -- you still consider  
9 that conservative.

10 DR. LU: We still consider that  
11 conservative, yes.

12 MEMBER DENNING: And I assume that when  
13 the applicants make their case, they will take credit  
14 for stuff that is retained back along the way.

15 DR. LU: Yes. We take the credit from  
16 interceptor test and their own specific test.

17 MEMBER DENNING: Okay.

18 DR. LU: Relating to near-field effect I  
19 am going to cover that. It is close to the sump  
20 strainer and then we can talk about that.

21 CHAIRMAN WALLIS: So shall we move along  
22 to the next subject? The next subject appears to be  
23 coatings. Is the next subject coatings?

24 MR. YODER: Correct. My name is Matt  
25 Yoder, NRR.

1 CHAIRMAN WALLIS: Do we have a handout?

2 MR. YODER: I believe you have copies.

3 I'm going to address the coatings issues that are  
4 still on the table for GSI-191 and the staff's  
5 proposed resolution path for those issues. To refresh  
6 your memory, the key issues that are still on the  
7 table for coatings are the zone of influence and the  
8 area immediately around the pipe break where the  
9 coatings can be destroyed.

10 The amount of unqualified coatings. These  
11 are coatings that were never assumed to be able to  
12 survive a DBA. Some testing has been done to try to  
13 prove that some percentage of these will remain  
14 adhered to the substrate and won't become a debris  
15 source. I'll discuss that.

16 Transport of coatings which you heard a  
17 little bit about yesterday. Then assessment of the  
18 coatings that are assumed to be DBA qualified to  
19 ensure that they are still intact.

20 So that's current activities. Regarding  
21 the zone of influence, we expect by July 15th to  
22 receive two reports from industry groups.

23 CHAIRMAN WALLIS: Wait a minute. I'm  
24 trying to stay with these activities. What is the  
25 status of predicting what effective coatings is on

1 head loss. Is that something you are satisfied with?

2 MR. YODER: I don't plan on addressing  
3 head loss but I think when we talk about transport  
4 maybe that would be a better time to discuss the head  
5 loss implications.

6 CHAIRMAN WALLIS: I don't think we have a  
7 tool for predicting head loss with coatings yet. Do  
8 we?

9 MEMBER SIEBER: No.

10 CHAIRMAN WALLIS: Not one that I know of.

11 MEMBER DENNING: Well, I think it's a  
12 matter of if the debris is fine debris, then I think  
13 one assumes --

14 CHAIRMAN WALLIS: It's ground up very  
15 small.

16 MEMBER DENNING: Yes.

17 CHAIRMAN WALLIS: But if it's flakes --

18 MEMBER DENNING: If it's flakes, then it's  
19 different.

20 MEMBER SIEBER: Well, I gather the outcome  
21 of yesterday's discussion on coatings was it doesn't  
22 transport very well.

23 CHAIRMAN WALLIS: That may solve it.

24 MEMBER SIEBER: So you don't need to know  
25 too much about it.



1                   MR. YODER: We'll get into it in a little  
2 more depth in the transport section. The bottom line  
3 is if it's particulate, we would expect it to behave  
4 like other particulate debris. If it's chips, it's  
5 probably not going to get there anyway.

6                   CHAIRMAN WALLIS: How big is a particle  
7 before it's chip?

8                   MR. YODER: The testing that was done for  
9 our transport went down to a 64th of an inch so that  
10 is pretty fine. We consider that a chip.

11                  CHAIRMAN WALLIS: It's still thin compared  
12 with its dimensions.

13                  MEMBER SIEBER: Right.

14                  CHAIRMAN WALLIS: It's still a flake.

15                  MEMBER SIEBER: Still a flake.

16                  MR. YODER: A that size it's still more  
17 the shape of a flake. So for zone of influence we  
18 expect to get data by July 15th. As I said, there are  
19 two different industry groups that did testing to  
20 reduce the size of that zone of influence. I'll talk  
21 more about each of these topics as we go on.

22                  There has been some testing on the  
23 unqualified coating performed by EPRI to try to take  
24 credit for some of these coatings remaining on their  
25 substraight where the staff position before was that

1 all of these things are going to fail and become a  
2 debris source. We are currently reviewing that  
3 report.

4 As you heard yesterday, Office of Research  
5 is analyzing the transport results. We continue to  
6 interact with the industry groups on this issue of  
7 assessment of the coatings and what is the proper way  
8 to ensure that these coatings that are qualified are  
9 going to stay on the wall.

10 CHAIRMAN WALLIS: Maybe we can help you  
11 when you come up with a draft position where you are  
12 going to say we are going to accept a zone of  
13 influence of a certain size for certain kinds of  
14 coatings. They are going to accept certain proportion  
15 of unqualified coatings being taken off or whatever it  
16 is, or within some zone or whatever. We are going to  
17 accept certain transport tests as being valid or if  
18 you have a velocity less than some certain size. When  
19 you come up with a position or draft position on these  
20 matters, that is perhaps where we can help you?

21 MR. YODER: I agree. I expect we will do  
22 just that, we will form a staff position, X percent of  
23 these coatings will fail. This is the size of the  
24 ZOI, etc. We would welcome your feedback on those  
25 positions.

1                   I'll talk in a little more depth about the  
2                   zone of influence testing. The staff guidance that is  
3                   currently out called for a spherical zone of influence  
4                   of 10 L/D. A radius of 10 pipe diameters around that  
5                   break location, all the coatings within that area  
6                   would be assumed to fail and fail as fine particulate.

7                   What we have seen from some of the testing  
8                   is that when these things fail within that two-phase  
9                   jet area it is by erosion and the failing is very fine  
10                  pigment almost, 10 micron size pigments. That is the  
11                  assumption. Everything within that zone of influence  
12                  is very fine. It is going to transport. It is going  
13                  to play into your debris bed.

14                  As I said, two different groups. These  
15                  are groups that were sponsored by different subsets of  
16                  plants to perform this kind of testing have taken  
17                  coupons of these qualified coatings, subjected them to  
18                  a two-phase jet in an attempt to reduce the size of  
19                  that ZOI. We'll get those reports July 15th and as we  
20                  go forward our review will focus on that two-phase  
21                  jet. Is it realistic of what you would expect from a  
22                  real pipe break, how were those coupons prepared, the  
23                  actual coatings that were used, and how did those  
24                  apply to the coatings that are actually in the plant.

25                  Moving forward, we'll provide the staff

1 position to the industry, to NEI, and we would expect  
2 that any concerns that we have with this testing would  
3 be addressed by licensees when they submit their  
4 generic letter supplemental response. If we say do  
5 not address the irradiation of the coatings or any  
6 other aspect, we would expect that they would possibly  
7 perform more testing to address that or find another  
8 way to address that concern if they plan on taking  
9 credit for reducing the size of the zone of influence.

10           Regarding the unqualified coatings test,  
11 and I'll explain these tests a little bit because I  
12 know the Committee hasn't perhaps seen this report or  
13 hasn't been privy to this, what they did is they went  
14 into plants and took actual electrical cabinets, pipe  
15 hangers, various equipment out of the plants.

16           These things have been aged, been in the  
17 plant, been irradiated, been subjected to normal  
18 service. They put these things in an autoclave where  
19 they simulated a DBA temperature and pressure history  
20 and subjected them to spray. The result was that some  
21 percentage of the coatings failed and some remained  
22 adhered to the equipment.

23           CHAIRMAN WALLIS: I just looked at it very  
24 briefly. It wasn't always consistent, was it? I  
25 mean, the difficulty was that you tested some

1 electrical box and some of them behaved one way and  
2 some behaved in different ways. What are you going to  
3 conclude?

4 MR. YODER: Right. Certain coatings types  
5 perform better. Certain pieces of equipment perform  
6 better. I envision when we come up with a staff  
7 position for this it will be if you can prove that you  
8 have coating X we would accept some percentage of it  
9 will stay on. If you have coating Y, maybe a lesser  
10 percentage will stay on. Maybe we won't give you  
11 credit for any of it staying on.

12 As I said, the intended use is to reduce  
13 the amount, the percentage that will fail. Also they  
14 captured some data about the size of the debris. Once  
15 it did fail they were downstream filters. I alluded  
16 to yesterday during the research presentation that the  
17 debris that was captured downstream was all fine  
18 debris. The largest pieces were around 1,000 microns.

19 CHAIRMAN WALLIS: You say this indicates  
20 some licensees will use the data, test data.  
21 Presumably it would be better if it were in the form  
22 of some sort of NEI guidance or something so that they  
23 all were using this data in a consistent way.

24 MR. YODER: This report has been put out  
25 as essentially a data report.

1                   CHAIRMAN WALLIS: It can be interpreted  
2 different ways by different licensees.

3                   MR. YODER: That's correct. That is why  
4 the staff wants to review this thing in advance and  
5 provide a position so that licensees when they do use  
6 this data in whatever way they want to use it will be  
7 aligned with --

8                   CHAIRMAN WALLIS: You are not going to ask  
9 someone like NEI to synthesize it all into a position.  
10 You're going to do it.

11                  MR. YODER: Correct. We are going to tell  
12 them what we will and will not accept.

13                  I heard yesterday from the Office of  
14 Research about our coatings transport work. Licensees  
15 who plan on crediting lack of transport such as the  
16 chips that we saw under representative losses probably  
17 will not transport to the surface. Of they do  
18 transport to the surface --

19                  CHAIRMAN WALLIS: Where do these chips  
20 come from? You told us the debris is actually eroded  
21 into very small particles. Where do the chips get  
22 formed?

23                  MR. YODER: Okay. And we'll get there  
24 also but I'll go ahead and -- within the zone of  
25 influence you are going to have fine particulate,

1       okay? Unqualified coatings outside of that zone of  
2       influence they are weaker.

3                   CHAIRMAN WALLIS: You assume they all come  
4       off?

5                   MR. YODER: They will come off and those  
6       we've shown like that EPRI test will probably end up  
7       in fine particulate. You also have some qualified  
8       coatings which are much more rigid, much more robust  
9       coating system outside of that zone of influence.  
10      Some of those are degraded either because they were  
11      misapplied, they have aged in some way. When those  
12      fail, we have seen some data and there is one plant  
13      that has taken some of those coatings in large chips  
14      and run a similar autoclave test and much of them stay  
15      in a chip form. Some of these coatings will remain in  
16      a chip form.

17                  CHAIRMAN WALLIS: Some may even fall off  
18      without a LOCA.

19                  MR. YODER: Those are the kind of coatings  
20      that I'm talking about. The plant that performed this  
21      testing actually used some of those coatings that had  
22      fallen off the wall, scraped them up, and said, "What  
23      is going to happen to these things in the DBA? Are  
24      they going to turn into dust or are they going to stay  
25      in chips?"

1                   CHAIRMAN WALLIS: You didn't assume how  
2 much of these coatings come off. Are you going to  
3 grade each plant? You've got 10 percent degraded  
4 coatings or whatever?

5                   MR. YODER: There is another slide in this  
6 presentation.

7                   CHAIRMAN WALLIS: Another slide that says  
8 that?

9  
10                  MR. YODER: That goes to the assessment of  
11 the qualified coatings. As I said, there have been  
12 plants recently where we have seen some of these  
13 coatings that are supposedly qualified to a standard  
14 DBA falling off the walls under normal conditions.  
15 Industry has historically performed visual assessments  
16 of these coatings. Do a containment walk down and  
17 identify areas where you see blisters or cracking and  
18 chipping, etc.

19                  Staff as a result of these failures where  
20 they were performing visual assessment but either  
21 something went wrong in their program or they weren't  
22 performing the assessment properly or the technique is  
23 not good enough to ensure the stuff is going to stay  
24 on, we formed a position that the industry either  
25 needs to take one of these three options that I've



1 listed out here. They either need to demonstrate, do  
2 some test program that visual assessment is adequate  
3 to prove these things will stay on. They need to go  
4 and perform physical testing, perform some sampling of  
5 their coatings with physical tests that can prove that  
6 these things are going to withstand --

7 CHAIRMAN WALLIS: In the May meeting the  
8 industry was very resistant to the second one.

9 MR. YODER: That's correct.

10 CHAIRMAN WALLIS: You could just have a  
11 coating pullover or something that you put on the wall  
12 and pull.

13 MEMBER MAYNARD: There are pull tests.

14 CHAIRMAN WALLIS: Pull tests. That would  
15 be rather easy to do. What is the problem? You don't  
16 like to go into containment?

17 MEMBER SIEBER: It's the result that is  
18 the problem.

19 MR. YODER: I won't commend on that.

20 CHAIRMAN WALLIS: What did you say, John?

21 MEMBER SIEBER: It's the result that is  
22 the problem.

23 CHAIRMAN WALLIS: They don't like what  
24 they find?

25 MEMBER SIEBER: Sometimes.

1                   MR. YODER: The feedback we've gotten on  
2                   that second option, performance and destructive tests,  
3                   is that it is a destructive test and they don't want  
4                   to go and rip paint off the wall.

5                   CHAIRMAN WALLIS: It's going to be local  
6                   presumably.

7                   MEMBER SIEBER: You still have to repair  
8                   it.

9                   MEMBER MAYNARD: Yeah, you still have to  
10                  repair it.

11                  CHAIRMAN WALLIS: That's part of the test.  
12                  You pull and you repair right away.

13                  MEMBER SIEBER: Well, but when you repair  
14                  a missing paint chip, you end up doubling up in some  
15                  spots.

16                  CHAIRMAN WALLIS: It might be worse.

17                  MEMBER SIEBER: That basically is a non-  
18                  tested system then and the repair is unqualified.

19                  MR. YODER: Correct. Aside from the fact  
20                  that if you wanted to go back on as a qualified system  
21                  there's a lot of QA you have to go through and a lot  
22                  of processes to prove that it is going to be a  
23                  qualified coating.

24                  MEMBER SIEBER: It's got to be compatible  
25                  with the original coating and sometimes you can't

1 buy --

2 CHAIRMAN WALLIS: If you pull it one place  
3 and it comes off, then you would have to pull  
4 everywhere to see if it comes off.

5 MR. YODER: I think the other issue is if  
6 you performed a random sampling and you found that  
7 some percentage failed, where do you stop the  
8 sampling. It might expand.

9 CHAIRMAN WALLIS: That might be a good  
10 thing for you guys to determine.

11 MR. YODER: This is the position we took.  
12 We suggested that they do this. Alternately the third  
13 option that we provided is that you assume all the  
14 coatings fail and then you consider the transport  
15 implications and the head loss implications.

16 CHAIRMAN WALLIS: What size do they fail,  
17 too.

18 MR. YODER: That's correct. In order to  
19 do that you are going to have to prove that you get  
20 chips or you get particles of whatever size. Maybe if  
21 some percentages fails as chips, some percentage fails  
22 as particles of a very fine nature you have to account  
23 for it in your evaluation.

24 MEMBER SIEBER: That is pretty tough  
25 because when you really think about it there's a lot

1 of coatings inside containment. I mean, there's tons  
2 of stuff.

3 CHAIRMAN WALLIS: It's on the order of  
4 100,000 square feet, isn't it?

5 MEMBER SIEBER: Yeah, it's real thin. On  
6 the other hand, there's a lot of paint that goes in  
7 there.

8 MR. YODER: There is a lot of paint.  
9 Another issue is say you have a plant that goes ahead  
10 and assumes that all their paint fails. They have  
11 another large amount of debris in the sump and in the  
12 chemical effects area we have asked that they evaluate  
13 the impact that amount of material could have. Is it  
14 going to leach out some other chemical constituent  
15 that could add to the chemical effects problem? We  
16 have asked them to address that concern.

17 MEMBER MAYNARD: This is an area where it  
18 is important to be conservative but not overly  
19 conservative because the additional work that can be  
20 generated you can actually cause additional problems.  
21 Also you are working in an area the more people that  
22 you send into there to be working, testing, and doing  
23 other things, you are picking up radiation exposure.  
24 It is important to be conservative but I think we have  
25 to be careful we're not overly conservative and that

1 generating a lot more radiation exposure and other  
2 problems.

3 MR. YODER: As we move forward with this,  
4 I expect licensees to take different approaches. Some  
5 will say that all the coatings fail and maybe they  
6 have enough margin with their head loss that they can  
7 accept that. Others will say that some percentage  
8 fails. Others will prove through physical testing  
9 that the coatings are still good.

10 CHAIRMAN WALLIS: What are these vendors  
11 doing, these vendors that are doing large-scale tests  
12 in a flume or something with a full-scale strainer and  
13 that throwing debris in and then seeing what happens?  
14 Are they throwing in coating debris as well?

15 MR. YODER: They are throwing in coating  
16 debris and they are throwing in a tremendous amount of  
17 coating debris.

18 CHAIRMAN WALLIS: They are? Okay.

19 MR. YODER: And one of the things that  
20 we've asked is for these plants that are throwing in  
21 such a large amount of coating debris, they are going  
22 to need to address the near-field effect and the other  
23 issues, the scaling issues that we have with the flume  
24 testing. You will hear more about that when Dr. Lu  
25 gives his presentation this afternoon.

1           As I said, we are going to evaluate each  
2           plant's response as they come in. We have provided  
3           the three options that we expect them to take. We  
4           will evaluate them each accordingly. We are going to  
5           continue to work with the industry on this, with ASTM,  
6           EPRI, Nuclear Utilities Coating Counsel.

7           There is a workshop, an ASTM workshop in  
8           July the staff will attend. That is focused on trying  
9           to identify the proper way to assess your coatings,  
10          perhaps some new assessment techniques that aren't  
11          currently used. There's an EPRI/Nuclear Utilities  
12          Coating Council workshop in August that focuses on the  
13          aging of these coatings.

14          Is this an aging problem, are these  
15          coatings nearing the end of their life expectancy, or  
16          is this some other phenomena, these coatings that you  
17          are seeing failing? Was it just an application error  
18          and if they were applied right they would continue to  
19          serve their function?

20          The last bullet here, this came out of a  
21          workshop, the recent workshop with NEI. An industry  
22          group has proposed to try to validate that first  
23          option I provided, the visual assessment, to  
24          demonstrate that the visual assessment is good enough.  
25          What they proposed is to go into a handful of plants,

1 find areas that they deem visually acceptable, and do  
2 destructive tests to prove that. We said it was  
3 visually acceptable.

4 We said it would survive a LOCA. We did  
5 a physical test and that backs up the fact that we  
6 said it was visually good. The initial feedback that  
7 the staff has given them is, "We'll work with you on  
8 this. We'll come observe. It's not going to fly if  
9 you go into a pristine containment with good paint and  
10 you do this. You are going to have to find some bad  
11 paint as well to try to validate this effort. That's  
12 in the early stages and the staff will be working with  
13 them to --

14 CHAIRMAN WALLIS: Well, if you go into a  
15 containment where a small region is shown visually  
16 that there's a problem, then you could look and see if  
17 the places which you didn't detect visually are okay.  
18 That sort of thing is what you're going to do.

19 MR. YODER: Correct. We have asked that,  
20 you know, if you find a bad section of paint, we like  
21 to start close to that area and work your way away.  
22 See how far you really can predict and maybe you come  
23 up with a model that says within a radius of however  
24 many feet visual is okay and then you apply that  
25 conservatively when you do your walk down. Maybe it

1 won't work at all. Maybe we have to fall on the  
2 second or third option which is do physical testing or  
3 assume these things fail. We'll see and we'll update  
4 you.

5 MEMBER SIEBER: So you want to see how  
6 much the bad painter was able to paint.

7 MR. YODER: To wrap up, I would just like  
8 to reiterate that for all of these areas, these  
9 coatings issues, we have identified paths forward. We  
10 may not be in total agreement on what the end result  
11 will be but I think we have a clear path to work our  
12 way out of these problems and industry is on board  
13 interacting with us to try to solve these issues. In  
14 many of these areas we have test data so I think we  
15 are in good shape in the coatings area.

16 MEMBER SIEBER: I have a question.  
17 Without discussing any specific licensee, I'm sure  
18 that the staff as seen some variability in the quality  
19 of coatings from plant to plant. Are there plants  
20 that have superior well adhered and intact coatings  
21 and are there other plants that have bad coatings  
22 where you see a lot of deterioration? If so, what is  
23 the proportion?

24 MR. YODER: As I said, one of the industry  
25 groups that we're working with is EPRI and NUCC



1 Coatings Aging Task Group. One of the outcomes of  
2 that is they performed a survey to try to assess how  
3 extensive is the problem. Is this happening  
4 everywhere? Is it only at certain plants? One of the  
5 things that came out of that is it seems that certain  
6 coating systems, primarily inorganic zinc primer with  
7 a phenolic epoxy topcoat tend to be the bad actors.

8 The initial thought is that this inorganic  
9 zinc primer is difficult to apply. If you apply it  
10 too thickly it becomes dry and the top coat won't  
11 adhere. It will come off. Too thin or some other  
12 problems. Because of the difficulty of the  
13 application, the thought is perhaps it's an  
14 application issue and that it may be isolated to  
15 certain subset of coating systems.

16 Staff is working with that group. We have  
17 not fully bought into that yet but it is one possible  
18 resolution. We are not convinced that it's not an  
19 aging problem. It could be other coatings may also be  
20 susceptible to similar --

21 MEMBER SIEBER: It would seem to me then  
22 that if there are plants out there that have coatings  
23 that are suspect, that the solution would not be to  
24 replace the coating but to make the sump pit larger.  
25 In that case, do you have the tools to evaluate how

1 large the sump needs to be made just to accommodate  
2 the coating issue in the plant that has susceptible  
3 coatings?

4 MR. YODER: There are licensees who have  
5 susceptible coatings, have bad coatings, have coatings  
6 falling off the walls and they have taken the approach  
7 that, "Well, we are going to make our sump big enough  
8 to deal with it." They will either say it all gets to  
9 our strainer and consider the head loss implications  
10 and the downstream implications or perform some  
11 testing to prove that it will be chips and maybe it  
12 all won't get there.

13 MEMBER SIEBER: I think there is some  
14 uncertainty involved in those kinds of calculations  
15 that you need to pay attention to. That's it.

16 CHAIRMAN WALLIS: Anymore questions or  
17 comments from the Committee? Thank you very much.

18 MEMBER SIEBER: Thank you.

19 CHAIRMAN WALLIS: Now, yesterday we met  
20 and after we were off the record and discussed whether  
21 or not what we heard yesterday should come before the  
22 full Committee. I think the Committee should consider  
23 carefully whether or not what we are hearing today is  
24 something that the full Committee should hear, our  
25 colleagues should hear and would actually want to

1 comment on.

2 This path forward rather than the research  
3 we heard about yesterday is something that we want to  
4 comment on as a Committee and then have a meeting in  
5 July about. I'm just throwing that out for you to  
6 think about today.

7 We are going to take a break until 10:30.  
8 Is there anyone who objects to taking a break until  
9 10:30? We'll take a break until 10:30 then.

10 (Whereupon, at 10:10 a.m. off the record  
11 until 10:35 a.m.)

12 CHAIRMAN WALLIS: Come back into session.  
13 We are going to hear about something you always wanted  
14 to hear about, downstream effects.

15 MR. UNIKEWICZ: Good morning. My name is  
16 Steven Unikewicz with the Division of Component and  
17 Shearing, Component and Testing Branch. This morning  
18 we are going to talk about -- what I'm going to talk  
19 about is downstream effects, specifically non-vessel.  
20 The areas of my topic is really downstream the screen  
21 to the inlet vessel into the feedwater nozzle into the  
22 vessel. We'll talk about the pump valves and all the  
23 other intermediate components.

24 What I'm going to cover is the current  
25 status of our evaluation, the challenges remaining,

1       how we plan on going forward, and I'll provide a very  
2       short summary of where we are today.

3                 Where we are and what the current status  
4       is is, as we've talked about for the last year, almost  
5       all licensees are using the PWR Owners Group WCAP-  
6       16406P which is the Downstream Sump Debris Effects in  
7       Support of GSI-191.

8                 What this was, this was initially a report  
9       given to us for information only last June. What we  
10      have done since last June is we did take a preliminary  
11      look at that. We provided the WOG and now the PWR  
12      Owners Group with roughly 43 comments, if you will,  
13      since we did not have that for formal review.

14                Since that time we have spent a  
15      considerable amount of time talking with them about  
16      our comments and what some of our very general  
17      concerns are. Since we didn't have it for specific  
18      review, it was meant to be a high-level type  
19      discussion and we have had a series of them over the  
20      last year, most recently about a month ago.

21                CHAIRMAN WALLIS: Did you find the  
22      research useful on downstream effects and valves and  
23      that sort of thing?

24                MR. UNIKIEWICZ: It was useful in that it  
25      confirmed a lot of the things that we had already

1 felt. We had some inclination and we had some good  
2 engineering judgment about how the valves would clog  
3 and some of the other things. Really that provided I  
4 think useful information to us and that provided good  
5 confirmation of what as engineers we felt we knew  
6 anyway. It provides a solid basis for some of our  
7 ongoing evaluations.

8 CHAIRMAN WALLIS: It certainly showed  
9 there could be effects.

10 MR. UNIKIEWICZ: Absolutely.

11 CHAIRMAN WALLIS: It showed there were  
12 effects on the valve coefficient and so on. I don't  
13 think it got to the point of predictive tool. Sort of  
14 given this stuff you know exactly how to predict what  
15 a valve will do. It is up to industry to presume to  
16 provide that.

17 MR. UNIKIEWICZ: That's correct. By the  
18 same token, it did do some very useful things. It  
19 confirmed what we had said early on a couple of years  
20 ago that there are some effects. In fact, people do  
21 need to consider this and, because of that, a number  
22 of licensees are, in fact, changing out throttle  
23 valves.

24 They are going to different designs. They  
25 are doing a lot of different things. I guess on a

1 personal basis some of the research was gratifying in  
2 that it confirmed that we had talked about from an  
3 engineering basis to people a number of years ago.

4           Because of our conversations with the  
5 Westinghouse Owners Group and on initial Rev. 0 they  
6 provided us a redline strikeout version. Now, that  
7 redline/strike-out data provided us for topical  
8 review. We just received it June 5th. A quick read  
9 of it says they have addressed some of our comments.  
10 They haven't necessarily addressed all of our  
11 comments. That report right now is in acceptance  
12 review. I'll talk about we plan on going forward with  
13 that.

14           The June 5th date and the June 5th  
15 submittal, at least from our evaluation, really is a  
16 key point going forward because it finally gives us  
17 something tangible in-house to speak very openly and  
18 honest with the industry about.

19           The challenges I think are the same  
20 challenges you've heard all along. Very specific to  
21 the downstream evaluations is because of the methods  
22 and how utilities stacked up to priorities, a lot of  
23 the initial responses to the generic letter were  
24 incomplete.

25           A lot of that reason was we believe

1 because they were concentrating very much on I'll call  
2 them the upstream effects, the head loss modeling, the  
3 transport, a lot of those earlier issues, with the  
4 thought that once they get that behind them, the next  
5 step would be to address what happens once we get by  
6 the screen.

7 For that reason a lot of initial responses  
8 were incomplete. As I said, what has happened is  
9 since virtually all of the licensees are using this  
10 WCAP it does require acceptance and they submitted it  
11 for topical review.

12 CHAIRMAN WALLIS: Considering downstream  
13 effects because some of the designs that I've seen in  
14 the screens have slower holes than they had before.

15 MR. UNIKIEWICZ: Yes.

16 CHAIRMAN WALLIS: They even have a  
17 supplementary device which is supposed to catch stuff  
18 which gets through the holes. They are certainly not  
19 -- they certainly have not ignored downstream effects  
20 in their screen design.

21 MR. UNIKIEWICZ: If I said that, that's  
22 what I meant to imply. I think with a resource  
23 looking at different engineering solutions you put it  
24 on where you feel you need to make the most progress  
25 in the least amount of time and that was really on

1 screen design. Once you deal with the screen design,  
2 then we can deal with pumps and valves, instruments,  
3 low-flow areas and things of that nature.

4 As I said a little bit earlier, the WCAP  
5 will require acceptance and detailed review by staff.  
6 It's a relatively voluminous document. There is a lot  
7 of information in there. It is going to take some  
8 time.

9 CHAIRMAN WALLIS: I guess the detailed  
10 review comes before the acceptance. Doesn't it?

11 MR. UNIKIEWICZ: Again, this project has  
12 been like a lot of others that, yes, in effect we have  
13 done a lot of detailed review prior to acceptance  
14 review. That is a true statement. It is the nature  
15 of this project.

16 MR. SCOTT: But to be clear, the detailed  
17 review that ultimately results in our report on our  
18 evaluation follows acceptance for that review.

19 MR. UNIKIEWICZ: That's correct.

20 CHAIRMAN WALLIS: I guess I have to  
21 question what you mean by acceptance. You accept it  
22 as being worthy of review.

23 MR. SCOTT: Acceptance means there is  
24 enough information the staff can begin to review.

25 CHAIRMAN WALLIS: That doesn't mean that



1 you agree to everything that is in there.

2 MR. UNIKEWICZ: That is correct. I use  
3 the term acceptance review in the context of a topical  
4 report.

5 CHAIRMAN WALLIS: I was thinking of  
6 acceptance in the form of endorsement really.

7 MR. UNIKEWICZ: No, sir. It does not  
8 imply endorsement at all. It implies that it has  
9 enough information for us to enable to begin our  
10 review.

11 CHAIRMAN WALLIS: I see.

12 MR. UNIKEWICZ: A quick read of it and,  
13 again, we've only got it a scant week ago, it is not  
14 clear that they have addressed all of our comments.  
15 I guess that is not terribly unusual. We do expect a  
16 lot of continued conversation with them on those  
17 details and very specifically to some of them more  
18 detailed reviews of how they are dealing with pump  
19 rotating dynamics, how they are dealing with some of  
20 their wear evaluations.

21 CHAIRMAN WALLIS: How do you pronounce P-  
22 W-R-O-G?

23 MR. UNIKEWICZ: We haven't figured that  
24 out yet.

25 CHAIRMAN WALLIS: WOG was easy. This is

1 a difficult one.

2 MR. UNIKIEWICZ: We'll have to come up with  
3 something. People need to recognize that there are a  
4 large amount of very plant specific data that are  
5 required to apply this WCAP. The WCAP is not a  
6 methodology. It is, in effect, a reference document  
7 for all intents and purposes.

8 It provides you a lot of good reference  
9 material that they gleaned and gathered from a lot of  
10 different sources whether it's from the pulp and paper  
11 industry, whether it's from the fossil powered  
12 industry, from the petro chemical industry.

13 It is not in the methodology and it is not  
14 a cookbook to say if I start on page 1 and end up on  
15 page 387 I've got an engineered solution to the  
16 problem. It is not that. It is a collection of  
17 different materials. It is at this point in time a  
18 fairly decent copenium of good information.

19 CHAIRMAN WALLIS: Does it contain  
20 discussions of the core?

21 MR. UNIKIEWICZ: It does but at this point  
22 in time the decision in one of our comments was the  
23 core is sort of a unique beast and it was decided, and  
24 we'll talk about this in the next presentation, to  
25 really pull it out of it and let's sort of make this

1       into three pieces. That is everything up to and  
2       including the screen itself.

3               Let's deal from a systematic standpoint  
4       just downstream to the screen, to the inlet, to the  
5       vessel, a very sort of clean, closed system, if you  
6       will, to be able to deal with from a parametric  
7       standpoint than from a parametric standpoint how do we  
8       deal with in-vessel materials.

9               CHAIRMAN WALLIS: There is a different  
10       presentation we have on that.

11              MR. UNIKIEWICZ: Yes, sir. That is  
12       correct. That will be the next one. Because there  
13       is, I'll say, a lot of reference material and because  
14       of a relatively large document and a lot of  
15       information in it, my expectation is that people are  
16       going to need to understand how to apply this  
17       information and how to apply this reference to their  
18       particular evaluations.

19              Like everything else, there is a lot of  
20       variance within the plants. There is a lot of very  
21       plant-specific data. The concern, and one of the  
22       things we talked to the Owners Group about, is we want  
23       to ensure that people are not taking information out  
24       of context. They are not taking a bit of reference  
25       out of context. That is put into the whole scheme of

1 things.

2 I suspect, and it is something that we are  
3 continuing to talk with the industry about, is it may  
4 be very, very worthwhile to make sure that people are  
5 applying this reference material appropriately so  
6 additional training may be required.

7 Now, people have had, or licensees have  
8 had, draft copies of this since last June. As a  
9 result of that some of the things that the WCAP does  
10 talk about is determining how you deal with the  
11 downstream source term and based upon what that is the  
12 evaluation of the components.

13 It is kind of interesting that as a result  
14 of going through at least their first cut of looking  
15 at the information is that they are going to start to  
16 use vendor testing to determine the downstream source  
17 term. I believe the reason for that is is using  
18 conservative assumptions that we had before they're  
19 failing.

20 There are failing pumps, failing valves,  
21 failing a lot of other things just because of  
22 conservative assumptions both contained in our initial  
23 safety evaluation and in some of the parameters that  
24 are being used within the WCAP report.

25 CHAIRMAN WALLIS: They are failing these

1 things in a theoretical sense.

2 MR. UNIKIEWICZ: Yes, sir. They are  
3 meaning that they may fail them because they find that  
4 a throttle valve with a 3 mil opening is clogging.

5 CHAIRMAN WALLIS: So you didn't say that  
6 in the testing that the vendors are doing they were  
7 failing downstream.

8 MR. UNIKIEWICZ: No, sir. They are failing  
9 along the lines of when they look at where rates of  
10 particular stainless steels that they are finding gaps  
11 opening up three, four times nominal. When they  
12 compared that to the rotor dynamic data, it does not  
13 necessarily provide a good operable piece of  
14 equipment.

15 MEMBER SIEBER: But there has been some  
16 testing. For example, data species pump.

17 MR. UNIKIEWICZ: There has been some  
18 testing. In fact, the PWR Owners Group has contacted  
19 and they have been working through flow serve and flow  
20 serve did a pump and they did some testing with a set  
21 of materials to look at wear rates again for a  
22 particular 410 stainless leaded components.

23 Again, what I talked earlier about, our  
24 concern is to make sure there are roughly half a dozen  
25 or a dozen different pump manufacturers, a dozen

1 different configurations. Almost every plant operates  
2 them a little bit differently. Stage to stage  
3 pressures are a little different. How they apply that  
4 flow serve data and other data to their particular  
5 pump, or even if it is applicable are some of the  
6 things that we are talking about.

7 MEMBER SIEBER: Well, some of the  
8 important parameters even within a given pump model  
9 will vary. For example, water lubrication, does it  
10 come from the pump fluid or does it come from some  
11 other strain.

12 MR. UNIKIEWICZ: Absolutely.

13 MEMBER SIEBER: Seals, bearings.

14 MR. UNIKIEWICZ: That is why we already see  
15 that one of the recommendations will be made early on  
16 was to look at such things as cycle and separators.  
17 In fact, as people have looked at them they are  
18 saying, "Gosh, we can't survive with this. We need to  
19 do a different modification working with the pump  
20 measures to come up with a different solution rather  
21 than a cycle and separator." A cycle and separator is  
22 a great piece of equipment. It has its place and it  
23 has its uses.

24 MEMBER SIEBER: Difficult to install.

25 MR. UNIKIEWICZ: So they are looking at

1 other options. You are right, it's because of bearing  
2 cooling. It's because of other reasons, bits and  
3 pieces and parts specific to pump design.

4 MEMBER SIEBER: I guess my question is is  
5 there enough detail in the WCAP to allow for a  
6 thorough engineering analysis of a given plant to  
7 determine whether it is acceptable or not. Secondly,  
8 what is the assumed mission time, 30 days?

9 MR. UNIKIEWICZ: Let me address both. One  
10 is, is there enough information contained within the  
11 WCAP? I have a tough time answering that right now  
12 really without a detailed review. Part of that is --  
13 one of the really nice things about the report is they  
14 did a very thorough industry survey where I've now got  
15 make and model of LPSI pumps, HPSI pumps, containment  
16 spray pumps, anything within the ECCS train.

17 I've got make and model of the various and  
18 sundry sizes of throttle valves, all different types  
19 of things. Based upon that, a lot of plant specific  
20 data will be able to do that. I'm really hesitant to  
21 say without giving a detailed review that it's -- I  
22 feel right now there are holes in it.

23 Again, I'm kind of reluctant to say more  
24 than that without going through because of some of the  
25 comments we had and some of our discussions with them

1 it became clear in our discussions that all of a  
2 sudden the light bulb went on later on and, "Ah, we  
3 understand. We didn't address that fully." There was  
4 sort of a recognition that once the light comes on and  
5 you understand the problem a little better, the  
6 solution is closer.

7                   They are closer. Is the report complete?  
8 My gut feeling is no. Will there be a final revision?  
9 I think the answer to that is yes. Will every plant  
10 be able to use parts of it? Yes. Will it be able to  
11 use all of it? I doubt it just because of the variety  
12 of plants.

13                   MEMBER SIEBER: You just got the latest  
14 version for your review.

15                   MR. UNIKEWICZ: Yes, sir.

16                   MEMBER SIEBER: I would be very interested  
17 in reviewing it, too, but it is premature for us, I  
18 think, to look at it now. When will it be available  
19 for us to look at?

20                   MR. UNIKEWICZ: I defer to Mr. Scott.

21                   MR. SCOTT: I would say you could  
22 certainly look at it now. When the time is right for  
23 comments is another question but we can --

24                   Ralph, did we not give you a copy of that  
25 report?



1 MR. UNIKEWICZ: Yes, Ralph got a copy.

2 MR. SCOTT: So you all have it.

3 MEMBER SIEBER: Well, do we have it? We  
4 could have it.

5 PARTICIPANT: You will have it.

6 MEMBER SIEBER: Could you make it PDF?

7 CHAIRMAN WALLIS: Could you answer the  
8 question that Jack had about mission time?

9 MR. UNIKEWICZ: Oh, sure.

10 MEMBER SIEBER: Thirty days.

11 MR. UNIKEWICZ: The mission time is really  
12 very plant specific. We have repair mission and ECCS  
13 mission times and from plant to plant that varies. On  
14 the next slide that becomes part of the acceptance  
15 criteria. There are plants that have longer than 30-  
16 day mission times. If a plant has longer than a 30-  
17 day mission time, the expectation is the evaluation  
18 extends out to that point in time. It depends on a  
19 detailed review of their design and license basis.

20 This is truly an ECCS operability review,  
21 system flows, process fluids, what are my acceptance  
22 criteria. I need to have 3,200 GPM for this period of  
23 time. It may very well be time dependent meaning that  
24 at a certain period of time, zero to 24 hours my  
25 required flow may be 3,000 GPM. However, post 24

1 hours it may be something less. Therefore, if there  
2 is leakage in between seals or stages and the plant is  
3 not -- the particular piece of equipment is not  
4 operating at its peak, that may be okay.

5 It may be okay as long as the pump doesn't  
6 self destruct and it performs whatever it is that fits  
7 your Chapter 14, Chapter 15 Acts analysis and what is  
8 the mission time. It is sort of a round-about say to  
9 say is the mission time 30 days. Maybe sometimes it  
10 sort of depends depending on the situation.

11 There are modifications ongoing. There  
12 are plants that are hard facing internal components.  
13 There are plants that are replacing throttle valves.  
14 One of the extensions on the review is, in fact, that.  
15 They determined that they had very, very tight  
16 clearances.

17 Again, I think as a result of our review  
18 and confirmation via the research work that they, in  
19 fact, would plug the throttle valves in a very  
20 considered method looking to make sure that their  
21 pressure breakdown within their system, again this  
22 being sort of a system question, that the combination  
23 of possibly other orfi and valve design that they  
24 could solve this problem. Licensees are considering  
25 changing orifice material because of worries. They

1 are planned and they are ongoing.

2           Again, it is detailed design, it's  
3 detailed design review. A lot of it goes back to some  
4 of the things that people are doing is they are  
5 looking very closely at process fluid constituents.  
6 Based upon their process fluid constituents, that is  
7 how they are doing the rest of the evaluation. Again,  
8 sort of wavering back and forth.

9           The early plants took a very, very  
10 conservative approach. They are making modifications.  
11 I think some of the plants later on in life, if you  
12 will, are looking back, "Gosh, if I don't have to  
13 replace internal HPSI throttle valve based upon good  
14 representative test data, then that good test data is  
15 something worthwhile to look at."

16           When we talk about vendor trips, and Mike  
17 alluded to it earlier, that is one of the things we  
18 are going to be looking at over the next couple days  
19 at one particular vendor in the active strainer  
20 because this does become a very critical piece.

21           How you deal with the pass-through fluid,  
22 if you will -- again, I'm going to stay away from the  
23 term bypass. It's not bypass fluid, it's a pass-  
24 through fluid. Responses to our RAI and our RAI to  
25 the industry earlier this year were really how are you

1 going to apply and how are you going to use this WCAP.

2 Tell us very specifically I'm going to use  
3 Chapter 6, paragraph 4.35 so that in some cases it was  
4 really for us to make sure we focused our reviews on  
5 the right things at the right time understanding that  
6 people are doing modifications and making evaluations.

7 The unfortunate, unfortunate in some  
8 cases, is that those responses were really not going  
9 to see probably until at least the end of the year and  
10 most probably later than January '07. One concern  
11 expressed earlier are we sort of looking and doing  
12 design reviews on the backside? Yes, we are.

13 The hope is that if there are challenges  
14 and modifications, there are a lot of other  
15 operational strategies which other folks within the  
16 team can address. There are solutions to the problem  
17 and a lot of times they are called engineered  
18 solutions and it is a combination of a lot of  
19 different things. Will be looking at some of their  
20 evaluations on the backside? I think the answer to  
21 that is yes. Are we concerned about that? Yes, we  
22 are.

23 I would prefer to have somebody up front  
24 come and tell us what specific sections. The other  
25 thing I'm concerned about is that we are looking at

1 this report in real time. If I can expend my  
2 resources on things that the vast majority of  
3 licensees are using, that is where I prefer to spend  
4 my time right now and spend less time on other ones.

5 MEMBER SIEBER: The most important  
6 parameter in my mind is the first bullet on this slide  
7 which is the source term.

8 MR. UNIKIEWICZ: Yes, sir.

9 MEMBER SIEBER: And you're saying that  
10 licensees are using vendor testing to determine the  
11 source term?

12 MR. UNIKIEWICZ: Many are.

13 MEMBER SIEBER: How are they doing that,  
14 you know, because if you use the surrogate as  
15 descriptive of the included constituents of the fluid  
16 that you are trying to pump around, they may not fully  
17 represent what the source term will be.

18 MR. UNIKIEWICZ: Herein lies the challenge  
19 that I think Shanlai is going to talk about later in  
20 the evaluation of people's prototypical testing. That  
21 is, why we are spending some time at a number of these  
22 vendors to make sure that, in fact, we agree with the  
23 test methods, how they are collecting samples, and,  
24 more importantly, what they are doing with their  
25 samples.

1 I agree because that is the key input  
2 parameter, input assumption, if you will, to a lot of  
3 our evaluations. They are going to this because,  
4 quite frankly, they are failing when they go on the  
5 conservative end so the idea --

6 MEMBER SIEBER: I would expect that.

7 MR. UNIKEWICZ: I think a lot of us  
8 expected that. They expected it also.

9 MEMBER SIEBER: What kind of bounds are  
10 you going to put on the licensee's selection of a  
11 source term? Are you going to look for a medium kind  
12 of a source term or conservative so that you bound all  
13 possible cases?

14 MR. UNIKEWICZ: We have to take it on a  
15 case-by-case basis. We are going to have to see how  
16 they apply it and assure that the method that they use  
17 and the results that they use are conservative and/or  
18 realistic.

19 MEMBER SIEBER: I would suggest they  
20 should be realistic but I think that you have to apply  
21 your same criteria to every licensee.

22 MR. UNIKEWICZ: That is correct.

23 MEMBER SIEBER: Well, okay. Thanks.

24 MR. UNIKEWICZ: How are we moving forward?  
25 Well, as I said, we just received a report. We expect

1 to have a lot of interaction with the PWR Owners  
2 Group. There is a lot of information. We have a  
3 fairly good -- there is an open communication right  
4 now. We expect to continue that. I suspect it is  
5 going to increase somewhat over the summer.

6           There are some very site-specific issues  
7 and there are some responses to additional  
8 information. Part of the questions and answers are  
9 going to come through ongoing audits which, again,  
10 staff is going to talk about later. I suspect that as  
11 we ask these questions and do more evaluations on  
12 these very site-specific audits, how people are going  
13 to apply it and to make sure there is consistency of  
14 use I think will become more and more apparent.

15           Once we complete our review and acceptance  
16 of the WCAP, what it will do is it will provide a good  
17 reference to ensure compliance and operability.  
18 Again, going back to making sure it is in compliance  
19 with design and license. It's a piece in that whole  
20 ECCS evaluation process.

21           We are reviewing modifications and, as I  
22 said, we are looking at continuing tests. The biggest  
23 test of concern is, again, I believe, and we need to  
24 have more conversation, there may be at least one more  
25 pump test of what I'll call a representative specific

1 style multi-stage pump. We haven't got quite details  
2 on that yet.

3           Should that happen, we are very interested  
4 to make sure there are tests set up again going back  
5 to we have witnessed these types of tests before in a  
6 very specific plant basis before. We are watching the  
7 modifications to at least understand why they are  
8 doing what they are doing, how they are changing  
9 throttle valves if they are, and as they are changing  
10 pump internals to make sure they are not affecting  
11 operation of the pump, and all those things that go on  
12 including proof testing and appropriate in-service  
13 testing and those types of things. All of that is  
14 ongoing.

15           As I said, the WCAP has been submitted for  
16 topical review. There are definitely technical issues  
17 that remain. We are not over. We expect a lot of  
18 interaction with the industry. Licensees need to  
19 address whether it's in their RAI, what are the  
20 responses to the generic letter, how they are  
21 specifically applying this WCAP to their plant.

22           We are going to continue to work with them  
23 and, again, plant specific evaluations are ongoing.  
24 Everything will be verified by December 2007, sooner  
25 for some plants depending on where they are and how



1 they submit information to us. We are moving forward  
2 and I think we are moving forward in a considered  
3 manner at this point in time.

4 MR. CARUSO: Did you say you planned to do  
5 plant-specific evaluations for every one of the 69  
6 plants?

7 MR. UNIKIEWICZ: No, sir. What I mean by  
8 that is our series of audits that we are doing in  
9 general. Part of that is our evaluation of  
10 downstream. Now, when they come in we will certainly  
11 look at all 69 responses. By looking at the specific  
12 evaluation, no, we are not. We are doing that within  
13 the context of the plan for issue resolution. We'll  
14 talk about plant specific later, but no.

15 MEMBER DENNING: Okay. Any other  
16 questions on the external downstream effects? Then  
17 we'll move on to fuel.

18 MR. HAFERA: Good morning. I'm Tom Hafera  
19 from the NRR staff. I have Walt Jensen with me from  
20 Reactor Systems and Bill Krotiuk from the Office of  
21 Research. We are going to provide you with an  
22 overview of downstream effects related to reactor  
23 fuel.

24 The topics I'll go over, I'll give you a  
25 current status of what our evaluation efforts are,

1 what challenges we see as remaining, what our path  
2 forward is. We will provide some preliminary  
3 evaluation results. I must stress the word  
4 preliminary there. Then we'll wrap up with a summary.

5 I think I will also try to build on what  
6 Steve just presented because WCAP-16406P does provide  
7 basic input and there are some sections in that WCAP  
8 that provide evaluations for in-vessel. There is a  
9 chapter specifically related to reactor internals and  
10 fuels.

11 The debris source term and debris  
12 ingestion term is certainly important,  
13 characterization, depletion co-efficients and there is  
14 also an appendix for the acceptance criteria for in-  
15 vessel reactors. There are sections in that WCAP that  
16 apply and we will use that as a baseline to then go  
17 forward.

18 As part of that going forward, the Owners  
19 Group is planning to develop a specific guidance for  
20 evaluation of the fuel and that will be in the form of  
21 an additional WCAP. As I understood, we originally  
22 were trying to have them come and present as part of  
23 this but they were having their meetings this week to  
24 discuss the scope and the path forward for that WCAP.

25 One of the things that we have previously

1 identified with the Owners Group is milestones where  
2 the staff will interact. They will make interim steps  
3 in development of their WCAP and they will present  
4 those interim phases to us so we can review and  
5 determine, provide feedback in terms of what we feel  
6 should be done with that.

7 I think another thing we just started  
8 performing some independent confirmatory analysis as  
9 part of our plant audits. That will be covered a  
10 little later. We are using two different analysis  
11 tools and both are still in development and that is  
12 what Mr. Jensen and Mr. Krotiuk will cover a little  
13 later. We are doing that in concert as Mr. Krotiuk  
14 with the Office of Research.

15 We are going to continue to meet with the  
16 Owners Group to identify plant-specific inputs. One  
17 of the things we're learning is when you evaluate fuel  
18 it's not just a fuel. It's the reactor internals  
19 packages, it's different reactor designs. Is it a  
20 two-loop plant or a four-loop plant? Is it a B&W  
21 plant or CE plant? How many different reactor  
22 internals packages are there? You put all these  
23 combinations together and you need those inputs to  
24 make sure that you are doing at least a bounding  
25 evaluation.

1                   Challenges. I think Mr. Sieber  
2                   appropriately picked up on that. Downstream source  
3                   term. That is without a doubt a large challenge. I  
4                   will cover that. Another challenge is schedule. We  
5                   need a timely submittal of the new WCAP if we are  
6                   going to proceed forward and the Owners Group  
7                   understands that.

8                   The review. At this point in time it is  
9                   very difficult to say what is our review going to  
10                  entail since we haven't even seen it or know what it  
11                  is. We do believe we need to fully develop our  
12                  confirmatory analysis models. We are progressing with  
13                  that fairly quickly and I think we are making a lot of  
14                  progress in that area.

15                 And we need, as I mentioned previously,  
16                 the relevant information that is needed to input for  
17                 these models has got to be obtained and analyzed.

18                 For our path forward, we are going to  
19                 continue to interact with the Owners Group, discuss  
20                 the site-specific issues that need to be identified,  
21                 and responses to RAIs that were previously generated  
22                 as part of review of the previous WCAP.

23                 We are going to continue to perform our  
24                 confirmatory analysis and develop that as needed. We  
25                 will interact with the Owners Group, as I mentioned,

1 at interim milestones as they develop their new WCAP.  
2 At the end, obviously, we will have to provide a  
3 review and acceptance of that new WCAP. That should  
4 provide complete.

5 I'll now turn it over to Mr. Jensen.  
6 He'll go over our first confirmatory analysis tool  
7 RELAP5 that we are using to evaluate downstream  
8 effects.

9 MR. JENSEN: Okay. I'm Walt Jensen from  
10 the NRR Fuels and Code Review Branch. We picked up  
11 existing RELAP5 model and started blocking out the  
12 core. This model doesn't have core barrel flow holes  
13 or slots modeled but we thought it would be good just  
14 to have kind of a first cut of what core blockage will  
15 do as far as core cooling.

16 MEMBER KRESS: Are you looking to see if  
17 you still meet the Appendix K figures?

18 MR. JENSEN: Well, yes. That is in the  
19 back of my mind. Right now this is just to see what  
20 will happen.

21 MEMBER KRESS: Just to see.

22 MR. JENSEN: To see if it's going to get  
23 hotter. See how much we have to worry about meeting  
24 Appendix K. Okay. Dr. Krotiuk is going to talk about  
25 more detailed analyses we plan to do with TRACE. We

1 understand the PWR Owners Group also plans to do some  
2 generic calculations with their code.

3 MEMBER KRESS: Are you just looking at  
4 blockages of the core or are you including the whole  
5 circuit with the blockages of the valves and blockages  
6 of the screens?

7 MR. HAFERA: Anything outside the vessel,  
8 again, was covered by Steve Unikewicz. This is  
9 strictly in the vessel.

10 MEMBER KRESS: Yeah, but when we get  
11 around to actually seeing what the total effect is,  
12 you'll have to include those effects on the flow.

13 MR. JENSEN: Yes, sir. I guess what we  
14 want to do is look at one thing at a time first to see  
15 what effect each one has. This is what we are doing  
16 now with RELAP. Let me move to the next figure. This  
17 is what we got and this is a 99.9 percent core  
18 blockage. We ran 90 percent core blockage, 99 percent  
19 core blockage without heat up. This is a 99.9 percent  
20 core blockage which is an area in the bottom of the  
21 reactor core like a hole about three inches in  
22 diameter. The core remained --

23 MEMBER KRESS: This is one specific  
24 channel?

25 MR. JENSEN: No. this is just a whole

1 lumped RELAP model. I think it had six actual nodes  
2 going up the core and it modeled the whole core as one  
3 dimensional.

4 MEMBER KRESS: One dimensional. So this  
5 flow was all spread out over the whole core cross  
6 section.

7 MEMBER SIEBER: In the model.

8 MR. JENSEN: In the model it is. This  
9 assumes this model, like you said, the flow goes in  
10 and immediately spreads.

11 MEMBER KRESS: That's why you will need a  
12 TRACE.

13 MR. JENSEN: We would like to look at some  
14 more detailed two and three dimensional.

15 So what this did, the flow going into the  
16 reactor vessel from the down tunnel, it just matches  
17 boiloff. This is the cold leg break and it is assumed  
18 that the rest of the ECCS flow just spills right out  
19 of the hole. Core flow, about 100 pounds per second,  
20 and core bypass flow, which in normal operation was  
21 positive, this goes negative and makes a natural  
22 circulation.

23 The next slide. What is happening here is  
24 that the flow is going up in the core and down in this  
25 bypass region between the baffle and the core barrel

1 and then, of course, down in the down tunnel. RELAP5  
2 has had kind of a unfortunate history of having  
3 extraneous internal circulation patterns, particularly  
4 when we model the core up into a lot of segments for  
5 AP600. I thought it would be good to do a little hand  
6 check.

7 This is a very simple-minded look of the  
8 reactor vessel. The core is about 50 percent voided,  
9 steam coming up, water. Then it is carried out of the  
10 core, flows down to the core bypass region and makes  
11 its circulation.

12 Water coming into the reactor vessel is  
13 that which is needed to make up the boiloff. The  
14 driving force is the fraction. The RELAP predicted a  
15 little bit higher than 50 percent. I've seen 50  
16 percent in some of the industries. I think that is  
17 the fairly accepted number.

18 Then matching the standard delta P with  
19 the frictional delta P. Now we have this simple-  
20 minded equation that we can use then to back out the  
21 core flow. Actually, we have more driving heads than  
22 would be in this calculation because six feet of water  
23 in the down cone is up above the core but that is not  
24 included here.

25 Anyway, as we ran this we then were by



1 hand able to predict about what RELAP was calculating  
2 which is a core flow of about 100 pounds per second  
3 for this very severe core blockage. That is about  
4 twice as what is needed to obtain core cooling which  
5 is 50 pounds per second. Based on that, then it would  
6 take an even smaller area of about 1.8 inches based on  
7 this RELAP model to provide adequate core cooling.

8           Again, this is an old RELAP model and I  
9 think core frictional pressure drops have increased  
10 with more recent fuel. This was a Babcock and Wilcox  
11 plan. They had core barrels and valves. It's able to  
12 release steam more readily than a plant with U tube  
13 steam generators that have to push the steam around  
14 the loops.

15           We need some actual field data. Last week  
16 we up to Westinghouse and got a Watts Bar audit and we  
17 obtained accurate field pressure drop data and core  
18 internals data from Westinghouse from the RELAP and  
19 RELAP still showed adequate core cooling for 99.9  
20 percent core blockage for a Westinghouse plant. We  
21 are still looking at that. I wouldn't want to just  
22 assume that number is right but give it a lot of  
23 margin.

24           For the Westinghouse case instead of  
25 having negative flow going down the core bypass, it

1 started to push the flow up in a positive direction so  
2 the core was cooled both from the top and the bottom.  
3 Again, we need --

4 MEMBER BONACA: That seems to presume that  
5 every channel in the core will have some flow. You  
6 are inferring that from a one channel representing the  
7 whole core. Secondly, whatever you do to restrict it,  
8 you still have some flow-through. My question is some  
9 of the channels may not have any flow-through any of  
10 the assemblies.

11 MR. JENSEN: This is an open core.

12 MEMBER BONACA: I understand that.

13 MEMBER SIEBER: Boxes.

14 MEMBER BONACA: I know it's open. I know  
15 it's not PWR.

16 MR. JENSEN: You have a good question. We  
17 hope to investigate that.

18 MEMBER DENNING: I have another question  
19 which is basically what you're seeing is you can have  
20 a lot of global core blockage and still be able to  
21 cool the core. Have you looked at all at debris  
22 occurring at good spacers and causing small local  
23 blockage around pins because there the capability to  
24 remove heat is really limited because there is very  
25 little delta P across a blockage that would occur of

1 that type. Do you understand what I'm saying?

2 The little collar of fibrous material  
3 around a small section of pin just like an inch or two  
4 inches of pin filling a channel and you are not able  
5 to cool that local pin. That is not global failure in  
6 any sense. Even if you melted that little part of the  
7 pin, I'm sure overall it probably arrests that. Have  
8 you taken any look at this local effect of fibrous  
9 debris bed forming around the pin? I was amazed when  
10 I did it and found how little amount of material it  
11 takes to cause overeating of the pin.

12 MR. JENSEN: I thought about that, Dr.  
13 Denning. If something is blocking the bottom of the  
14 spacer grid so the water can flow in from the top, it  
15 might be cool.

16 MEMBER DENNING: If you look at just a  
17 debris bed around the small section of pin, there is  
18 no delta P across it to drive flow through that debris  
19 bed. You know, we kind of have the feeling that the  
20 water will find its way and cool things but if you  
21 look at a little debris bed of fibrous material around  
22 a single pin, small collar, small height, you can't  
23 remove the heat from that because the delta P is so  
24 small across that to drive flow through that little  
25 debris bed.

1                   MR. JENSEN: You are talking about not  
2 just a blockage. You're talking about material  
3 actually back behind between the pin.

4                   MEMBER DENNING: Essentially filling the  
5 channel underneath the grid spacer for some distance.

6                   MR. HAFERA: We've had discussions  
7 regarding that issue with the Owners Group and we've  
8 also had internal discussions on that. Obviously  
9 RELAP is not the tool for that. We have had the same  
10 question now three times.

11                  MEMBER DENNING: It's a simple hand  
12 calculation.

13                  MR. HAFERA: We've said we are going to  
14 use TRACE to analyze local effects and we are going to  
15 confirm TRACE with other effects. Yes, we understand  
16 that RELAP is not the right tool.

17                  MEMBER DENNING: It is a simple hand  
18 calculation.

19                  MR. HAFERA: Okay. Yes.

20                  MEMBER DENNING: It's a question do you  
21 form that debris bed or don't you.

22                  MR. HAFERA: We've had this discussion  
23 with the owners and I know I asked the last time if  
24 you could provide us with your hand calculation and  
25 the inputs and the assumptions, we would graciously

1 appreciate that so then we could evaluate that. We  
2 have turned that over to the Owners Group and they are  
3 going to do that. We are also going to independently  
4 confirm that but right now we are using that with  
5 TRACE for localized effect.

6 MEMBER SIEBER: That is truly a local  
7 effect and there will be flow around that blockage.

8 MR. HAFERA: Correct.

9 MEMBER SIEBER: As you said, assemblies  
10 are open. Assemblies are not in boxes so there is  
11 cross-communication but you are going to have a hot  
12 spot and the question becomes will that hot spot lead  
13 to a local failure at that point. A local failure is  
14 likely to cause an expansion of the tube which makes  
15 the situation worse.

16 The question is how widespread is it going  
17 to be. If it's low in the core, it doesn't make a lot  
18 of difference because the power production low in the  
19 core is not that high. You do have a flux profile.  
20 If it's in the middle of the core or the upper half of  
21 the core, that could be a problem.

22 MEMBER BONACA: It would be up the core,  
23 I think, because it would have this cross effect. I  
24 think the concern is really --

25 MEMBER DENNING: What I was thinking was

1 a very local effect. Then the question is does that  
2 propagate which is unlikely that it is going to --

3 MEMBER BONACA: In many locations so there  
4 will be tens of thousands of pins there. Locally you  
5 are going to have some blockage.

6 MEMBER SIEBER: I think it's inevitable.  
7 If you have a source term that has a sufficient amount  
8 of fibers and particles in it to cause that to occur  
9 in one place is going to occur in a lot of others,  
10 too. Part of that goes into the assumption that you  
11 are down to a 10th of a percent of flow or something  
12 like that. On the other hand, you are going to have  
13 a lot of local spots where you've got some problems.  
14 I think that needs to be analyzed.

15 MR. JENSEN: I agree with that. Local hot  
16 spots is something we need to look at. I have done  
17 calculations. You have an area in the core or length  
18 of core that is not getting radio heat transfer out  
19 the pin, it's going to get hot. There is no doubt  
20 about that.

21 DR. LU: Shanlai Lu from NRR. Let me add  
22 a little bit here. In terms of the localized heating  
23 and localized hot spot, I think this issue was raised  
24 last time during ACRS meeting. In terms of the heat  
25 transfer mechanism, we can consider also that

1 basically that self can be a good conductor if you  
2 have localized blockage. This is No. 1. Additional,  
3 the realistic heat transfer mechanism can be  
4 considered.

5 MEMBER DENNING: A little bit. But if you  
6 look at axial heat transfer, if you block it up  
7 against the spacer grid and go down below there, the  
8 actual heat transfer doesn't buy you very much. It is  
9 just amazing how little heat transfer you can get  
10 axially out of the pin.

11 DR. LU: I agree with you. That is in  
12 terms the axial heat conduction. But in terms of  
13 redirection, you still have a spacer grid touching the  
14 surface of the hot spot there. That can be one way to  
15 conduct heat from the surface of the cladding to the  
16 fluid.

17 MEMBER DENNING: I think what you find is  
18 that you can't get the transfer axial up to the spacer  
19 grid because even if you have water above that, it  
20 doesn't --

21 DR. LU: Yes.

22 MEMBER DENNING: I agree it can help a  
23 little bit.

24 DR. LU: Can help a little bit. In  
25 addition, if you have fibers, sparse fibers to build

1 a localized accumulation and not only the fiber comes  
2 itself a very fine fiber, then it is very hard to form  
3 a very condensed localized accumulation. We are  
4 looking into that issue. I think that is a very valid  
5 question but I think that is something we can --

6 MEMBER DENNING: I think that you put your  
7 finger on an important element of it, and that is with  
8 very little pressure gradient there can you really  
9 compact the bed the way we see compact beds.

10 DR. LU: That's exactly my point. You may  
11 not have the compressed bed. You can see from there  
12 your vertical head loss loop. You have very sparse  
13 and high-level fraction accumulation of the fiber.

14 MEMBER DENNING: You don't know the true  
15 answer.

16 DR. LU: We don't.

17 MEMBER SIEBER: Another thing you have to  
18 consider is while this localized blockage occurs, you  
19 can get boiling and boiling will have a tendency to  
20 clear away the blockage. At least I could picture it  
21 that way. I don't think there is any testing that is  
22 out there that would prove that.

23 MEMBER BONACA: The bottom line is that  
24 still you have this issue. The cross-flow is going to  
25 be only effective above a certain elevation. You have



1 to have some space for it. Below that you have all  
2 this blockage so you are going to have some localized  
3 effects of that measure.

4 MR. JENSEN: Moving on, conclusions from  
5 the RELAP analysis. Core cooling can be maintained  
6 with a considerable amount of blockage in the bottom.  
7 If some plants have small holes or large holes in the  
8 core barrel, these should be effective in cooling the  
9 core if the bottom of the core is blocked.

10 There are significant circulation patterns  
11 within the reactor vessel that may affect debris  
12 transport or carrying of debris within the core and  
13 perhaps causing problems behind the spacer grids. We  
14 are going to back out some loss coefficients for both  
15 the RELAP and TRACE, equivalent loss coefficients  
16 based on the whole core area.

17 We can use those to compare to tests that  
18 industry is doing for pressure drops through beds of  
19 debris and can then based on the losses from those  
20 tests we are going to say, "Well, our results show  
21 that adequate core cooling or not adequate core  
22 cooling would be obtained."

23 MEMBER DENNING: Do you have the feeling  
24 as to how much fibrous -- with the large area screens,  
25 will be get more fibrous material through that or does

1 that not happen? I mean, how much circulation of  
2 fibrous material are we expecting with these large  
3 screens?

4 MR. HAFERA: Again, you are asking what is  
5 the downstream source term.

6 MEMBER DENNING: Yeah.

7 MR. HAFERA: The downstream source term,  
8 again, is very complex. It can be related to a number  
9 of things. It is not just -- it is the screen whole  
10 size. It is the screen configuration. It is the  
11 velocity at the screen. It is the differential  
12 pressure across the screen. It is the ligament size  
13 of the screen. There are many, many complex variables  
14 involved in the downstream source term.

15 That is why, again, we have said this, the  
16 downstream source term is very critical. The WCAP  
17 1646P is very conservative. It used the LANL research  
18 on a flat screen penetration. Therefore, it is very  
19 conservative in divining what the source term would  
20 be. That is why I believe, as Steve mentioned, a lot  
21 of plants are not surviving because it's just so  
22 conservative.

23 The strainer vendors they are paying  
24 attention to downstream effects in their sampling and  
25 what have you. Clearly the modern screens are much,

1 much better at trapping debris at the strainer where  
2 it belongs and the downstream source terms are going  
3 to be much less.

4 Currently the one plant that we have  
5 looked at their source term is much less. They cannot  
6 -- they don't have enough fiber going through in their  
7 source term to create a core concern right now. But  
8 that's only one. That is the only one that we have  
9 kind of looked at so far.

10 MEMBER DENNING: You probably also want to  
11 look carefully at active screens because --

12 MR. HAFERA: Active strainers are the  
13 major concern for this issue. This issue goes  
14 directly coupled to active strainers and that is where  
15 we are going tomorrow.

16 Are you done, Walt?

17 MR. JENSEN: I will move on to the next  
18 one here.

19 MR. HAFERA: That's TRACE.

20 MR. JENSEN: Yeah, this is TRACE. What I  
21 wanted to say is we at NRR asked the Office of  
22 Research to do the TRACE analysis and that is, of  
23 course, because we recognize that RELAP has  
24 deficiencies being a one-dimensional model and TRACE  
25 has the capability for three dimensions. It also will

1 allow us to look at core blockages inside the core and  
2 look at the flow distributions inside the core.

3 Just like RELAP we need to have adequate  
4 and detailed accurate data on the fuel flows as it  
5 says on the flow patterns or in the reactor vessel to  
6 be able to input that into TRACE. I would like to  
7 pass the microphone then to Dr. Krotiuk.

8 MR. KROTIUK: As Walt mentioned, starting  
9 to do the TRACE analysis. What I'm going to be  
10 reporting here is primarily just preliminary  
11 assessments. They are definitely not completed.

12 What I've done so far is basically I'm using an  
13 existing model that we have for a four-loop PWR plant  
14 and it includes the reactor core and includes steam  
15 generators, all the piping and network and everything.

16 The key thing I'm concentrating on is the  
17 core itself. Basically this is the schematic of the  
18 core that is modeled in TRACE and it is basically  
19 broken up into a number of vertical segments. Then  
20 there is within each segment a number of volumes. The  
21 core itself is broken up into eight circumferential  
22 volumes and then two radial segments, I should say.  
23 There is eight here and eight over here and then two  
24 segments like this.

25 There is an area outside of the core

1 region itself that is between -- there is an area  
2 between the outside of the baffle region that is also  
3 modeled. There is a fair amount of detail within the  
4 core region itself. As I said, eight radial segments,  
5 four rings, and 14 elevations.

6 There is no bypass flow between the inside  
7 of the core and the area outside the baffles so that's  
8 ignored. Right now there are some plants that may  
9 have that. We don't really know. The analysis that  
10 I'm doing is assuming -- this is just the first shot  
11 through. I mean, we'll look at other things but 80  
12 percent doubled-ended cold leg break.

13 Full high flow, high and low pressure  
14 injection. The key thing is that the way I have done  
15 this analysis we run a steady state and then run out  
16 a transient out to the time of recirculation at 1,200  
17 seconds at recirculation. Basically I restart the  
18 model, block off sections of the core, and then see  
19 what the effect is. Let me just show you what we're  
20 doing.

21 Run, of course, an unblocked core case  
22 just to have a basis. This is starting at an assumed  
23 time of recirculation. Then we are running a case  
24 whereby we would block 75 percent of the core inlet.  
25 That means that all this area is blocked and the only

1 place that would have flow is this section right here.  
2 Then we would run a similar thing with 87.5 percent  
3 blockage so this is all blocked except for this one  
4 segment here. Then 94.8 percent blockage.

5 Everything is blocked except for that one  
6 location right there. I have done some preliminary  
7 work with that but the key thing is that, as Walt had  
8 mentioned, we met with Westinghouse last week and we  
9 got some better data in terms of flow resistances and  
10 areas and basically a geometrical description of the  
11 core itself. Based on that I'm in the process of  
12 refining the model for the adjusting core part so that  
13 we have a more accurate representation of what is in  
14 there.

15 I could say just some preliminary results  
16 I would have done previously is that up until the 75  
17 percent of the blockage I did not really see any  
18 increase or effect on peak clad temperature after  
19 recirculation so 75 percent seems to indicate that --  
20 or below even if you have a full blockage area that  
21 you are not really affecting core temperatures. For  
22 the area blockage up to 94.8 percent I did see some  
23 increases in local temperature, peak temperature.

24 Again, I don't want to state a number  
25 right now until I finish the analysis. The better

1 input, the more correct input into the core model. I  
2 have seen some increases in temperature but they are  
3 small. You are only talking about 100 degrees  
4 fahrenheit or something of that nature. They are not  
5 large increases.

6 MEMBER SIEBER: But all of your blockages  
7 that you assumed are at the core inlet.

8 MR. KROTIUK: That's correct.

9 MEMBER SIEBER: Do you plan to try any  
10 calculations where the blockage is partway up the  
11 core?

12 MR. KROTIUK: We have a whole scoping plan  
13 set up and that probably will be one of the items but  
14 first --

15 PARTICIPANT: The short answer is yes.

16 MR. KROTIUK: Yes.

17 MEMBER SIEBER: Okay. I would be  
18 interested in knowing what happens on that one.

19 MR. KROTIUK: But, you know, once we have  
20 the model all set up you can vary different things and  
21 get the different effects.

22 The one concern that we do have is that we  
23 wanted to make sure that the TRACE code itself would  
24 be able to correctly calculate, how to say, the flow  
25 distribution. Say we are assuming a blockage on part

1 of the inlet. We want to make sure that the TRACE  
2 code itself is calculating that flow distribution  
3 correctly around for both the axial and the radial and  
4 the circumferential flows.

5 We are independently developing a three-  
6 dimensional CFD model using fluids. For that model we  
7 are just looking at the core itself. We are looking  
8 at the various assemblies. We have modeling in each  
9 one of the assemblies and then looking at using the  
10 TRACE flows as input into this.

11 If the TRACE is calculating a flow into,  
12 say, the unblocked portion of the inlet of the core,  
13 we will put that as an input into the CFD model and  
14 then compare the circulation that we calculate with  
15 the CFD with the TRACE code to make sure that we have  
16 similar type of results and consistency. That is  
17 going and the only thing just as of yesterday we just  
18 developed a model but that as of yesterday so we  
19 haven't had any results out of that at all yet.

20 MEMBER DENNING: And you're seeing in that  
21 blocked area -- I'm sorry, yes. You are seeing the  
22 kinds of recirculation patterns that you would expect  
23 to see, I assume.

24 MR. KROTIUK: I'm seeing a recirculation  
25 pattern. To be honest I haven't looked at it to a



1 large degree so I don't know what the void fraction  
2 relationships are, what the distribution is or  
3 anything else. I can't answer too much. This is  
4 really ongoing work. I mean, it needs more study to  
5 make sure that everything is correct. In other words,  
6 do a sanity check to make sure that what we are seeing  
7 in terms of what the code is calculating makes sense.

8 MEMBER DENNING: As far as cross-flow  
9 resistance are there standard algorithms one uses to  
10 set up those cross-flow resistances?

11 MR. KROTIUK: That was a very important  
12 question that we asked last week when we met with  
13 Westinghouse because the original model that I had did  
14 not have good values for that cross-flow resistance.  
15 last week when we met with Westinghouse we did get  
16 their guidelines that they have developed for coming  
17 up with the cross-flow resistance, the areas and the  
18 resistances. That has to be put into the model yet.

19 MEMBER BONACA: Assume the number of hours  
20 into the transient, I guess, to determine the decay  
21 heat you have at that point?

22 MR. KROTIUK: Could you repeat the  
23 question? I'm sorry.

24 MEMBER BONACA: I said this happens within  
25 the recirculation phase.

1 MR. KROTIUK: Right. Correct.Generic  
2 Letter responses

3 MEMBER BONACA: Therefore, you assume some  
4 number of hours from the LOCA event?

5 MR. KROTIUK: Starting at 1,200 seconds.

6 MEMBER BONACA: 1,200 seconds.

7 MR. KROTIUK: The decay heat recorresponds  
8 to that time.

9 MEMBER BONACA: Conservative, I guess.

10 MR. HAFERA: In summary, we are trying to  
11 develop some detailed analysis tools and models for  
12 evaluation of downstream effects and reactor fuel. We  
13 think we are making good progress. We know we still  
14 have some ways to go but we also think we have  
15 identified plans to get the information that we need  
16 and the support that we need to make that happen in a  
17 fairly short time frame.

18 We will be engaged in industry activities  
19 and we have identified a formal process with the  
20 Owners Group to provide feedback on their new WCAP so  
21 we will be engaged with them there.

22 We are going to continue to perform  
23 confirmatory analysis for the plants that we audit.  
24 I'm sure we're going to learn lessons from that and we  
25 will apply those lessons as we develop our tools.

1                   We stand by our original statement that  
2                   evaluations by licensees should be complete by  
3                   December 2007.

4                   MEMBER KRESS: Most of their ECCS codes  
5                   are like RELAP. They are not three dimensional. We  
6                   ought to use those to calculate the same thing you're  
7                   calculating.

8                   MR. HAFERA: Actually, no. We have made  
9                   this clear to the Owners Group. The Owners Group, as  
10                  mentioned by Walt, is doing some generic analyses for  
11                  downstream effects and blockage in the fuel. We made  
12                  it clear to them what we would like to do is do  
13                  independent analysis. We don't want them to do an  
14                  analysis and then us audit their analysis. We want to  
15                  do independent. We want to use our own tools. We  
16                  want to make sure that we get the inputs from them so  
17                  that our inputs and assumptions are used consistently.  
18                  At the same time, no. We are not auditing their  
19                  process. We are doing confirmatory independent.

20                  MR. SCOTT: One clarification on that  
21                  slide that I would like to add. That last bullet  
22                  says, "Evaluations of licensee submittals are expected  
23                  to be essentially complete by December '07." We'll  
24                  expect to have them in house by December '07. Our  
25                  evaluation will not be fully complete in December '07.

1 That is going to run into '08.

2 MEMBER DENNING: It would be kind of  
3 interesting to do something to see where fibers wind  
4 up within a core under low-flow rates. I don't know  
5 just how one does that or what kind of mock up one  
6 could do but it would be kind of interesting to see  
7 that. I don't have a good feeling. Certainly one  
8 would expect fibers to catch up on stuff.

9 I don't know how they pack and whether the  
10 adhesive forces between fibers are sufficient to make  
11 them form a fairly tight bed or not. It wouldn't be  
12 a very difficult experiment to do in some kind of a  
13 simulation. I would certainly be curious to get a  
14 better idea as to where these fibers are really  
15 winding up as they go through the system.

16 MEMBER BONACA: There has been such an  
17 effort in the industry to have debris catchers on the  
18 bottom of the assemblies. I would expect that you  
19 would have -- that's really where you're going to have  
20 it. At least in past experience where you have had a  
21 significant amount of debris we found the majority,  
22 all of them, at the bottom and they get caught.

23 MEMBER SIEBER: Those are pretty big holes  
24 in those things.

25 MR. HAFERA: When we discussed this with

1 the Owners Group and the fuel suppliers, it becomes a  
2 lot of variables. There are a lot of variables.  
3 While that is a good question, that may be a second or  
4 third order or level of concern because if you do  
5 analyses and you find out you can complete block  
6 something and your fuel can survive, well, then why  
7 continue.

8 But the other reality is we have had those  
9 discussions and it becomes a question of do you have  
10 a hot leg break or a cold leg break. What type of  
11 internals package do you have. Do you have a two-loop  
12 plant or four-loop plant. Do you have a Westinghouse  
13 plant or BMW plant. Do you have Framatome fuel or  
14 Westinghouse Fuel.

15 The number of variables gets to be very  
16 large. It is one of those things that, yeah, you're  
17 right it would be nice to do but from our standpoint  
18 we have to tie it back to 10 CFR 50.46 and what we're  
19 saying is we are telling the Owners Group, "Prove that  
20 you can meet 50.46 long-term cooling criteria." If  
21 they are, then it becomes difficult.

22 DR. LU: Tom, let me add a little bit. I  
23 think the strainer vendors and the fuel vendors are  
24 actually conducting tests to address specifically the  
25 question you asked. That is exactly the question we

1 are trying to identify, what is the type of  
2 distribution, how that is being formed inside of the  
3 fuel channel.

4 If you have a given amount of debris  
5 source or debris bypass, fibers come into the vessel  
6 and into the core. The details are very commercially  
7 sensitive to the design of the fuel filter and the  
8 spacer grid itself. I don't think we can comment too  
9 much on that but an effort has been made by the  
10 industry to address specifically this question, too.

11 MEMBER BONACA: This debris will come in  
12 and then get out again through the break. You will  
13 flush it through the core and then accumulation in  
14 preferred locations and the accumulation will take a  
15 number of passes maybe you could imagine. It will be  
16 different locations for --

17 DR. LU: You are absolutely right.  
18 Actually it may take several circulations for the  
19 fiber or particular to settle at a certain spot of the  
20 entire loop if we consider the containment to pool,  
21 sump screen, heat exchanger and reactor vessel core  
22 itself so many circulations to settle.

23 MR. HAFERA: There are differences in  
24 modeling removal from the system, i.e., the system  
25 being the containment floor, the strainer, the RHR,

1 everything outside the vessel. Then also modeling  
2 debris settlement within the vessel. Again, there  
3 becomes a number of variables involved. It becomes  
4 complex. It is being considered. The current  
5 thinking is take a conservative approach and don't  
6 assume any settlement. You assume removal from the  
7 strainer as the only mechanism that can remove debris  
8 from the recirculating fluid. Then if you can survive  
9 that, that is conservative.

10 MEMBER DENNING: Well --

11 MR. HAFERA: The other question gets to be  
12 anything that's infinitely -- all other debris is  
13 considered to be suspended infinitely for time. Then  
14 you say take that volume of debris. Now that volume  
15 that is infinitely suspended, since in a cold leg  
16 break I have to assume that my reactor is a boiling  
17 pot and it's 100 percent efficient.

18 Won't I take all my infinitesimally fine  
19 debris and I dump it in the bottom of the reactor  
20 vessel. Can I survive or not? If I can survive, I  
21 can survive. Those are the kind of -- I guess that is  
22 the other thing that we have to stress. This is the  
23 kind of discussions we've had with the Owners Group in  
24 terms of them developing their WCAP.

25 Their thought processes right now is can

1 we do some up front work, evaluate some bounding  
2 conditions, evaluate the bounding conditions in terms  
3 of debris filtration both not only from the system  
4 standpoint but also from the reactor vessel standpoint  
5 evaluated from what is the most bounding condition  
6 from the reactor internals and the fuel supplier's  
7 standpoint and run some cases and see how that turns  
8 out. If it turns out that the sensitivity is very  
9 low, then you've kind of done a bounding analysis and  
10 it becomes difficult to justify doing more sensitive  
11 analyses.

12 MEMBER DENNING: Have you looked to see  
13 relative to the 99.9 percent blockage that you were  
14 talking about early on how big of a debris bed does it  
15 take a fiber to give you that if all you have for your  
16 height is the downcomer height? Do you know what the  
17 answer is to that?

18 MR. JENSEN: It would take a lot. We  
19 looked at some of the blockage debris pressure drop  
20 data that industry did. This case that we're talking  
21 about with the 99 percent blockage, it worked out to  
22 be equivalent inlet loss factor into the bottom of the  
23 core over 160,000 which is a very large loss factor  
24 and then we can compare that with some of the  
25 industries, unfortunately very proprietary data, and



1 it will look like there is a lot of capability for a  
2 fairly large debris bed down there.

3 MEMBER DENNING: A pretty large debris  
4 saying you're saying to give you --

5 MEMBER SIEBER: Tolerated.

6 MEMBER DENNING: That could be tolerated.

7 DR. LU: I'll add just one more thing.  
8 Actually with that debris bed and realistically bed  
9 formation so sparse and with ECCS flow goes through  
10 the core. We really don't think that's possible to  
11 have a complete 99.9 percent blockage for even bed  
12 like that. The bed will be porous and the water will  
13 go through so 99.9 percent is really a bounding  
14 calculation.

15 MR. JENSEN: Well, Dr. Shanlai, you work  
16 them both out to an equivalent loss factor so whether  
17 the core is all the way blocked with a porous bed or  
18 whether it's completely blocked by a little hole, as  
19 far as RELAP is concerned RELAP doesn't care.

20 MEMBER DENNING: Any other comments? I  
21 don't think we do. Okay. Then I think we will  
22 adjourn now.

23 MEMBER SIEBER: Recess.

24 MEMBER DENNING: We'll recess now. The  
25 question is do we want to make it until 1:00 or until

1 10 of 1:00?

2 MEMBER SIEBER: 1:00. We're already  
3 ahead.

4 MEMBER DENNING: Until 1:00.

5 (Whereupon, at 11:53 a.m. off the record  
6 for lunch to reconvene at 1:00 p.m.)

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1

2

3

4

A-F-T-E-R-N-O-O-N S-E-S-S-I-O-N

5

1:02 p.m.

6

7

8

9

MEMBER DENNING: We are now going to come back into session. Graham will be back at some time but it's not clear exactly when he'll be able to make it back.

10

11

12

13

14

15

DR. LU: Okay. I'm going to start. Shanlai Lu from the staff, the Safety Issue Resolution Branch, NRR. I'm going to talk about prototypical head loss testing. That is industry prototypical head loss testing as part of the new strainer design effort.

16

17

18

19

20

21

22

23

24

25

Ever since we issued the SE, I think two months later we had a public meeting with NEI and all the licensees. We told them either they have to develop their plant specific correlation or they have to come up with prototypical head loss testing to justify the head loss across the new strainers. Ever since then they have already started -- the industry has started to have an extensive testing program. What I am going to do is give the Subcommittee's overall status of this program.

1           Since this started I think one half year  
2           ago we start to have the observation trips to  
3           different vendors. I am going to give you the overall  
4           staff review activities. I think in May we had a  
5           public meeting with all the strainer vendors and many  
6           licensees. We spent almost one and a half days to go  
7           through their testing program and identify issues.  
8           What I plan to do is give you a snapshot of what we  
9           heard from them for one and a half days.

10           MR. SCOTT: Clarification. We spent a  
11           half a day with each vendor. The whole thing with  
12           vendors ran over a full day.

13           DR. LU: What I plan to do is just give  
14           you one slide per vendor and actually each vendor  
15           during that meeting gave probably 70 to 80 pages of  
16           slides talking about their testing program. With that  
17           I also will talk about common technical issues we  
18           identified with vendors through our audit and our  
19           pilot audits and also the vendors observation trips.  
20           At the end I'm going to discuss the path forward.

21           The background. I think this question was  
22           asked this morning regarding how they come up with  
23           this debris generation and transport term as the input  
24           for their strainer testing. I think most of the  
25           licensees we interacted with followed the NEI guidance

1 report and the staff SE and used conservative debris  
2 generation and transport methodology to predict the  
3 total amount of the debris deposited on the surface of  
4 the strainer.

5 That is the analysis part of the design.  
6 With that input to the strainer testing they assume  
7 all the debris arrives out of the strainer or nearby  
8 region as the onset of recirculation.

9 MEMBER SHACK: How do they precondition  
10 the debris? Shredder, blended?

11 DR. LU: Oh, yes. That is a lot of --  
12 yeah, we will talk about that. That is one of the  
13 technical issues I'm going to touch on. At a very  
14 high level with the assumption of the onset of  
15 recirculation, they assume all the debris arrives at  
16 the strainer. It is very conservative because all the  
17 ocean terms, all the history of the debris generation  
18 is considered as -- is not considered as part of  
19 analysis so it is very conservative to be assumed it's  
20 all here. They are all at the strainer at the  
21 beginning of recirculation.

22 MEMBER DENNING: Does it mean in the  
23 vicinity of the strainer rather than on the strainer  
24 or do different vendors make different assumptions?

25 DR. LU: That's a good question there.

1 After the strainer or nearby region, that means they  
2 have a different testing methodology. Either they put  
3 the debris right on the strainer surface or they want  
4 to integrate at a nearby or near field transport with  
5 the head loss into one test.

6 The next step, the overall approach of the  
7 industry is they perform the prototypical head loss  
8 tests to validate the strainer sizing and net positive  
9 suction head. So far we have observed three types of  
10 head loss testing. The first one is prototypical head  
11 loss testing combined with near field transport. That  
12 is the nearby region as they assume the debris arrives  
13 at the nearby region.

14 Second, which can be considered as very  
15 conservative, is prototypical head loss test without  
16 debris settlement upstream. They use some kind of  
17 turbulence agitator to try to force the debris flow  
18 towards the surface of the strainer. At the end of  
19 the testing all the fibers, or most of the fibers end  
20 up on the surface of the strainer.

21 The third type of head loss testing we  
22 observed was they developed head loss correlations,  
23 too, but using plant specific material like mineral  
24 oil or BK. They assume very conservative debris  
25 distribution across the strainer. Our responses

1 towards this testing effort was conduct the pilot  
2 audits and observation trips.

3 With that I'm going to give you a snapshot  
4 of what we learned from --

5 MEMBER SHACK: How many tests are in a  
6 test program for a given plant?

7 DR. LU: Say it again?

8 MEMBER SHACK: How many tests are in a  
9 test program for a given plant?

10 DR. LU: It can be very plant specific  
11 depending on their test matrix.

12 MEMBER SHACK: Obviously they have to  
13 consider different radios of particulates and fiber.  
14 Say it's a cal-sil plant with a fiberglass, is it five  
15 tests, 20 tests, 50 tests?

16 DR. LU: In terms of magnitude, the number  
17 of magnitude is about five to eight or around 10 or  
18 less than 10 because it is very expensive to conduct  
19 for the prototypical head loss testing to generate so  
20 much debris and then dump into the flume or testing  
21 facility.

22 Normally they prefer to use a NUREG CR  
23 6224 correlation or their own proprietary correlation  
24 to perform the initial scoping analysis to determine  
25 the size of the strainer and to use very conservative

1 sizing of methodology and to put that strainer into  
2 the test loop and test for the given debris loading.  
3 To reduce the number of tests they have to come up  
4 with a test matrix to justify why they can reduce the  
5 number of tests because that is a lot of money.

6 With that, I will just give one slide  
7 about Framatome PCI and Applied Research Lab vendor  
8 group. Okay. They are using the PCI sure-flow  
9 strainer which is stacked disk of strainer with a  
10 perforated plate on the surface and there are gaps in  
11 between. This is a reduced scale strainer itself and  
12 then the average size is about this large.

13 This vendor group right now is supporting  
14 14 units at this point. They only have one test loop  
15 that is the rectangular shape of the flume and they  
16 use reduced scale of the strainer or surface area to  
17 a very small testing section under that middle head  
18 loss.

19 MEMBER DENNING: Of course, the hole sizes  
20 are not scaled. They are full scale.

21 DR. LU: Yes.

22 MEMBER DENNING: And that one unit is what  
23 they are going to use for all 14 of the PWR -- that  
24 model is what they are going to use for all 14?

25 DR. LU: No.



1 MEMBER DENNING: No?

2 DR. LU: The shape of the strainer itself  
3 because that is a PCI sure-flow strainer is about the  
4 same. But the surface area and the gap in between and  
5 orientation can be different for different plants.  
6 For this one it is horizontally marked. It can be  
7 vertically marked. It's very small holes.

8 I think this morning Dr. Wallis mentioned  
9 the devil is in the details. I want to point out the  
10 approach velocity range is about this much. It is a  
11 maximized 0.027 which is about four times less than  
12 the testing we have been doing with the vertical test  
13 holder and the PNNL. What really matters for the head  
14 loss testing what we observed when we went to the ARL  
15 and looked at the testing, we observed the testing,  
16 the accumulation of the fiber debris becomes very  
17 interesting.

18 They never had a condensed bed with this  
19 approach. What we saw is very high fraction and  
20 sparse. Even see before they dump the particular into  
21 the flume we can see the fibers are tangling around  
22 and floating on the surface of the strainer surface.  
23 It does not condense and does not form a very  
24 condensed bed.

25 MR. CARUSO: Is that approached velocity

1 the value in the stream away from the strainer or is  
2 that the value that you use when you average the flow  
3 over the whole area of the strainer?

4 DR. LU: That is the average flow across  
5 the surface of the strainer.

6 MR. CARUSO: So what would the flow be  
7 like far away from that thing? What sort of velocity  
8 range would be a foot away from it?

9 DR. LU: That can be much higher. That is  
10 the reason we raise the issue about a near-field  
11 effect. It's just for this vendor. I'm going to  
12 touch on that issue here.

13 MR. CARUSO: Okay.

14 DR. LU: I want to talk about this  
15 approached velocity. Once you have low approached  
16 velocity very sparse and high-water fraction debris  
17 bed and after the end of the particulate we saw the  
18 particulate was not being captured by that very course  
19 debris bed at all and running through all the time.  
20 Most of the time it just runs through that strainer  
21 and comes back.

22 MEMBER SHACK: So they do a consecutive  
23 debris bed construction. They put the fibers in first  
24 and then add the --

25 DR. LU: They have this kind of sequencing

1 of the testing as part of the text matrix. I don't  
2 want to talk too much because somehow this relates to  
3 their testing approach of proprietary. I just want to  
4 give you a sense of what is going on.

5           Going back to the question of the time  
6 sequence of the debris, if you have very sparse debris  
7 bed which has a very low filtration efficiency, the  
8 time sequence or time history of the arrival of  
9 different debris may or may not be that important for  
10 normal debris. It goes back to the chemical effect.  
11 You can have precipitates with nanometers in the range  
12 of the size of the precipitate coming in. It is very  
13 hard for this kind of a sparse debris bed to capture  
14 the particulate or the precipitates there.

15           There might be one way out for them if you  
16 say I have such a sparse debris bed and I may not have  
17 to address the question of how long I need to run the  
18 test, for three days or four days or one week. It may  
19 not even reach that point. The debris by itself has  
20 such high filtration it can capture very small  
21 particles.

22           MEMBER DENNING: In this particular test  
23 series do they have the chemical debris?

24           DR. LU: They do.

25           MEMBER DENNING: Generated according to

1 the WCAP?

2 DR. LU: Yes. In the Watts Bar audit we  
3 observed that they added chemical precipitates into  
4 the test loop.

5 MS. LANE: Excuse me. Ann Lane from  
6 Westinghouse. I don't believe that this particular  
7 vendor is using the method presented in the WCAP for  
8 generating the chemical precipitate.

9 DR. LU: Paul may have something to say.

10 MR. KLEIN: I was just going to add a  
11 similar note. Paul Klein. The one particular test  
12 that you referred to showed why they attempted to  
13 simulate chemical effects before any of the WCAP  
14 information was available. They just tried to  
15 simulate a product based on conversations with various  
16 people.

17 MEMBER SHACK: Was it a calcium phosphate  
18 type product, an aluminum product?

19 MR. KLEIN: No, it was an aluminum  
20 hydroxide and calcium carbonate they added for the one  
21 licensee. They tried to simulate chlorine levels that  
22 they observed in an ICET 5 environment.

23 MEMBER SIEBER: With these low approach  
24 velocities, I would presume that the typical strainer  
25 installation would be very large.

1 DR. LU: It is. That is in the range of  
2 the screen areas but up to 7,500 square feet.

3 MEMBER SIEBER: Even that seems small to  
4 me for that kind of an approach velocity. I mean,  
5 there's hardly any velocity at all there.

6 MR. MARTIN: That's actually a face  
7 velocity. Isn't it, Shanlai?

8 DR. LU: Yes, surface approach velocity.

9 MR. MARTIN: Face velocity. If you  
10 divided the volumetric flow rate by the surface area,  
11 I think that is probably what you would get.

12 DR. LU: That's true.

13 MR. MARTIN: Actually, like you said, that  
14 velocity is a little higher as you go a little further  
15 away from the screen.

16 DR. LU: That is the near-field effect.  
17 We are going to talk about that.

18 MEMBER BONACA: Tell me the configuration  
19 of that strainer, the size of it.

20 DR. LU: The perforated plate has an  
21 average rate of .045 and .095. Here is the disk  
22 surface area. In between you have several disks laid  
23 out.

24 MEMBER BONACA: You say in between. What  
25 is that?

1 DR. LU: Okay. Between the perforated  
2 plate has the star shape of the bones.

3 MEMBER BONACA: It seems to have vertical  
4 sides to the strainer. They are also hole diameter  
5 range? I can't see it there visually.

6 DR. LU: For this particular testing the  
7 water is flowing from here towards this strainer.  
8 Then the water is being sent into the pump downwards.  
9 At the center there is the pipe taking all the water  
10 and going downwards.

11 MR. ACHITZL: Is the question just whether  
12 there is a series, a set of probably or six stacked on  
13 the other side of the disk. The difference -- Achitzl  
14 from NRR. Excuse me. There is a set of stacked  
15 disks. The thing about the PCI strainer is their  
16 claim to fame is that they flow average it so if you  
17 are near or further they try and get the flow. Some  
18 of the vendors don't but these guys try and distribute  
19 the flow evenly across the complete set of disks.

20 MEMBER BONACA: So there is a series of  
21 similar --

22 MR. ACHITZL: They have hydraulic  
23 complexity inside the suction pipe to get --

24 MEMBER BONACA: From here it seems as if  
25 you have these large spaces on the sides. There are

1 layer of filters.

2 MR. ACHITZL: Yes.

3 DR. LU: For the actual strainer it may  
4 have much more number of stacked disks there. They  
5 can be horizontal and vertically, too. It depends on  
6 the plant's configuration there. The gap size between  
7 those two disks can be changed, too. It depends on  
8 the loading of the debris.

9 So what we have done for this particular  
10 vendor we conducted Watts Bar audit and then we had  
11 three staff visits and we plan to have future audits,  
12 too, on this particular vendor group.

13 MEMBER DENNING: When they take their  
14 prototypic source term, do they just divide by the  
15 number of proportional areas and assume that  
16 everyone --

17 DR. LU: Yes. It depends on the area  
18 ratio.

19 MEMBER DENNING: So they use area ratio to  
20 determine what their source term ought to be.

21 DR. LU: Yes. This is test section and  
22 they calculate how much the total surface area of the  
23 test section and then divide it by the total surface  
24 area of the entire strainer area. For the given  
25 amount of debris just divide that ratio that dump into

1 the flume. We have some issues related to the near-  
2 field effect. That is something that I am going to  
3 talk about that. At this point I am going to move to  
4 the next vendor group, Alion/Enercon.

5 We have a different shape of the strainer,  
6 what is called the top-hat strainer. It is a  
7 cylindrical shape of strainer. Then they can have two  
8 rings or one ring only. What is shown here is the  
9 vertically oriented. It can be horizontal or  
10 vertical. It depends on the plant configuration.

11 For the deep sump pit they can put a  
12 vertical one. For the very shallow water they can use  
13 horizontal orientation.

14 This particular group is supporting 15 PWR  
15 units at this point. They have very extensive testing  
16 program. They have vertical test loop like in Los  
17 Alamos and the PNNL test loop. They have vertical  
18 chemical loop which can heat water to certain degrees  
19 and the temperature can be controlled. They also have  
20 a large flume to perform the prototypical head loss  
21 testing and large water tank loop. This vendor group  
22 has extensive testing facility as part of the program  
23 and also the analysis too.

24 MR. CARUSO: Do all the test facilities  
25 just recirc the water?



1 DR. LU: Yes.

2 MR. CARUSO: Do any of the test facilities  
3 have a setup like what exist in a plant where you have  
4 a strainer to catch some of the debris and then a core  
5 to catch the rest of the debris so you can see how it  
6 gets proportionally distributed between the two sets  
7 of strainers?

8 DR. LU: At this point we have not seen  
9 that type of configuration to model the entire  
10 containment system including the vessel, the --

11 MR. CARUSO: I'm not saying so much the  
12 model, the vessel itself, but the core acts like  
13 another strainer downstream of the screens. If you  
14 put a screen downstream and you put a screen, two  
15 serial screens, you are going to see a distribution of  
16 the debris which is what's going to occur in the  
17 plant.

18 DR. LU: What we did see actually to  
19 capture the debris downstream they have some kind of  
20 screen.

21 MR. CARUSO: They do?

22 DR. LU: Yeah, for the downstream effect  
23 evaluation. It is not intended to model the debris  
24 transport or the position inside of the vessel or the  
25 heat exchanger. The approach velocity range is also

1 very small. The maximum is four times less than the  
2 research test and loop velocity there.

3 The screen size is very similar and the  
4 entry range is almost the same. The entire industry  
5 is trying to use very small hose with a perforated  
6 plate to reduce the downstream source term. NRR  
7 visited this particular vendor four times and we plan  
8 to have a future audit.

9 MEMBER SIEBER: That particular strainer,  
10 again, must be huge in size if you --

11 DR. LU: This one?

12 MEMBER SIEBER: Yeah. If you look at  
13 7,500 square feet --

14 DR. LU: They have many of them.

15 MEMBER SIEBER: Okay.

16 DR. LU: They have like 20 or 30 of them  
17 each one being three feet or five feet. It depends on  
18 the configuration.

19 MEMBER SIEBER: What do you do, put a  
20 plate over the top of it to block?

21 DR. LU: Actually they have the manifold  
22 to connect all the small modules into a large one.

23 MEMBER SIEBER: Okay.

24 DR. LU: Either horizontally or  
25 vertically.

1                   MEMBER SHACK:  When they do this, when you  
2                   run the test, you are dumping your debris in, you are  
3                   filtering it through this, you're capturing the pass-  
4                   throughs so you have your downstream source.  How many  
5                   times do they recycle this?  How long does the test go  
6                   on?  How many recycles do you go through?

7                   DR. LU:  That is related to -- I think  
8                   that is a question related to termination criteria and  
9                   also related to the downstream effect.  All the  
10                  vendors actually right now have the grand central line  
11                  so downstream all the vendors can grab the samples and  
12                  measure the concentration of the particulate and the  
13                  fiber.  They all have that one.

14                  MEMBER SHACK:  So they do a grab sample  
15                  where they are going to filter downstream.

16                  DR. LU:  Yes.  That's right.  Or they just  
17                  take the sample out and send it to a lab and measure  
18                  the concentration of the fiber or particulate.  That's  
19                  where they started the downstream effect in source  
20                  term.

21                  MEMBER SHACK:  Do you get a  
22                  characterization of what this looks like, the fibers  
23                  of such and such a length of distribution?

24                  DR. LU:  With this approach velocity and  
25                  with such small holes there, they found that fibers

1 passing through the strainer is very short. It is  
2 dependent on the specific plant and dependent on the  
3 specific vendor. It is very short.

4 MEMBER SHACK: That is a characterization  
5 they do for each plant as part of the test program  
6 then?

7 DR. LU: Yes. Some plants can afford to  
8 use the very conservative WCAP debris source term for  
9 the pass-through as a debris source term. If some  
10 plant wants to take the advantage, they can use this  
11 data. But how they would use this data whether we  
12 buying that one is a question. That is one issue I am  
13 going to discuss there.

14 I'll move onto the next vendor, CCI. We  
15 have the test facility located in Switzerland close to  
16 Zurich. They are supporting about 60 units. They  
17 have a very interesting shape of strainer. I took  
18 shot once when I went to that test facility. It is  
19 what they call the pocket.

20 They have this surface area and this  
21 surface all covered with perforated plate. Even at  
22 the end there is the complex shape of the surface of  
23 the perforated plate. What is happening is the debris  
24 accumulation on the surface of the pocket strainer  
25 becomes very nonuniform so head loss can be very small

1 if you compare the test results with the correlation  
2 calculated based on the uniform debris bed.

3 MR. CARUSO: Then the debris just  
4 collapses at the end of the --

5 DR. LU: This is after they drain the  
6 water. For very high head loss case they actually  
7 have this debris accumulated on all four surfaces.  
8 For very low approach velocity case they may not. It  
9 can be very nonuniform and the head loss can be small.

10 MR. CARUSO: If you compared the velocity  
11 into the pocket to the approach velocity of the  
12 surface of the perforated plate, what sort of ratio do  
13 you see for something like this?

14 DR. LU: Of course that is just continued.  
15 It can be higher.

16 MR. CARUSO: Is it a factor of 10? Is it  
17 a factor of 100?

18 DR. LU: Four or five. I don't know the  
19 exact number.

20 MR. CARUSO: Four or five.

21 DR. LU: I don't know the exact number.

22 MEMBER DENNING: I don't quite understand  
23 on these little kind of mail slots is it really  
24 composed of two plates so it can flow into either  
25 side?

1 DR. LU: Yes. This wall itself has two  
2 surfaces. This surface has a perforated plate. On  
3 the other side it has a perforated plate. In the  
4 middle is about a quarter inch gap. After the water  
5 flows through the perforated plate it goes into the  
6 gap in the center of this unit. That is the CCI  
7 strainer and actually this strainer is being installed  
8 probably for half of the French plants.

9 MR. WHITNEY: This is Leon Whitney, SSIV.  
10 If I could be permitted to describe the actual shape  
11 of the pocket, it is kind of like if you had a shoe  
12 bag and you had a shoe in it. It necks down towards  
13 the back there and then there is a plenum and then the  
14 plenum allows the water to go down and out that way.  
15 Or a nose cone that is not sharp so the gap closes to  
16 the edge here is very small and it grows as you go  
17 deeper into the pocket.

18 When there is nonuniform a lot of times  
19 with very low flow velocities you will see almost no  
20 fiber at the top quarter of the pocket. Then these  
21 other pieces here would fall down naturally like they  
22 do but you might during the test have no fiber or  
23 whatever at the very top because it just can't lift  
24 because the velocity is just so low.

25 DR. LU: This vendor has three test loops.

1 The vertical test loop is very small scale but they  
2 put the pocket vertically and tested the pocket  
3 strainer, the hydraulic characteristics there. They  
4 have performed almost 2,000 rounds of tests with this  
5 small scale test loop.

6 They have large water tank and also multi-  
7 functional test loop to perform the prototypical  
8 modular strainer head loss testing. The multi-  
9 functional test loop was designed to have different  
10 temperature and also was intended to have a different  
11 chemical precipitates there. We plan to visit them  
12 one more time, at least one more time, in July of this  
13 year. We visit them last year in July and we also  
14 plan to have future audits.

15 That is a snapshot of CCI and another one,  
16 GE and CDI. CDI testing facility is in New Jersey and  
17 GE/CDI vendor group is supporting 13 units. I cannot  
18 show the pictures because the closed meeting we had  
19 with them and the proprietary information they did not  
20 want to disclose.

21 The test facility they have is a pool, a  
22 swimming pool type of testing for loop. Water tank  
23 loop, gravity drain testing and downstream effect loop  
24 for the fuel. You asked for that particular issue  
25 related to where the debris are being deposited, how

1 it is going to form in the bed and actually they had  
2 this kind of loop.

3 MEMBER DENNING: In that downstream effect  
4 loop what are they actually simulating in there?

5 DR. LU: I cannot talk too much about  
6 that. The next time, I think in August, I heard that  
7 ACRS is planning to meet with each individual vendor  
8 and you can talk with them. I don't think I can  
9 comment on that at this point.

10 We have already got two observation trips  
11 and we performed one pilot audit and we plan to have  
12 future audits, too.

13 One thing I want to mention they have both  
14 passive and active strainer design which is unique.

15 MEMBER MAYNARD: Are you talking about for  
16 the same plant or they have two options whether you  
17 want passive or active?

18 DR. LU: Okay. I think even for the  
19 plants using the active strainer, they want to --  
20 well, they may want to have a sacrificial passive  
21 section of the strainer, too.

22 MR. SCOTT: Shanlai, I think what they  
23 told us at the vendor meeting was that they have to  
24 have a passive section to catch what the active side  
25 choose up so to speak.



1 DR. LU: That's right. The sacrificial  
2 section has to be there. Okay. That's all I can say  
3 right now. It's all proprietary information. I  
4 cannot talk too much about it.

5 AECL. They came in a little bit late in  
6 the game but already got the audits from four PWR  
7 units. It's passive strainer. They have small tank  
8 loop and large water tank loop to perform the  
9 prototypical modular head loss testing.

10 We went there last year and we plan to have more  
11 staff this year to visit them and future audits there,  
12 too.

13 Over all the industry has five vendor  
14 groups to perform prototypical head loss testing for  
15 the entire PWR fleet. It is extensive effort for them  
16 and the total budget we don't know exactly but when we  
17 visited each vendor there were dozens of people  
18 working on each test to perform one prototypical head  
19 loss testing modular testing. It cost a lot of money  
20 and needed a lot of manpower there to perform the  
21 test.

22 I think last time the ACRS raised the  
23 question can the scaled strainer module/section test  
24 results be extrapolated to plant conditions? How they  
25 scale this module test and extrapolate the head loss

1 data to the plant condition. The vendors' approach is  
2 they assume uniform debris loading on the entire  
3 array. For each array they assume it is uniform  
4 debris loading. Then they scale the debris loading  
5 based on the test section area ratio. It is a very  
6 simple approach.

7 We have the issues related to their near  
8 field transport. For the head loss tests without near  
9 field transport, that means they introduce the debris  
10 either right on top of the strainer or they dump the  
11 debris directly on the surface of the strainer, or use  
12 some kind of turbulent activator to force the debris  
13 to settle on the surface of the strainer. In that  
14 type of test we consider the uniform debris settlement  
15 assumption is conservative.

16 MEMBER DENNING: And the reason for that  
17 is that you think then those parts that get the lowest  
18 amount are going to be free and have little pressure  
19 drop? That's why you think that?

20 DR. LU: That is exactly the reason.

21 For the combined head loss and near field  
22 transport test, that is something we talked about last  
23 time. We consider this particular approach or request  
24 more attention from the staff. We estimated that  
25 about 20 PWR units plan to take the credit for the

1 near-field effect. The question here is what kind of  
2 scaling and testing procedure have been developed to  
3 scale the near field transport.

4 At the same time you have the head loss  
5 measurement there. For both transport and head loss  
6 when you combine those two phenomena together with a  
7 simple test loop like a flume, it can be very  
8 difficult to justify whether that head loss data  
9 measured from that test facility is conservative.

10 Our position is the proper scaling and  
11 testing procedures are needed to ensure adequate  
12 strainer size and/or sufficient removal of the problem  
13 debris.

14 MR. CARUSO: Is the staff going to  
15 document this position in some written document at  
16 some point?

17 DR. LU: That is part of the plan of the  
18 staff review guidance. We are developing this review  
19 guidance as part of this effort. We are documenting  
20 that.

21 Okay. I am going to hit the common  
22 issues. Instead of talking about specific vendors,  
23 what are comments to specific vendors, we want to  
24 cover the issues identified can be applied to all the  
25 vendors. First, of course, the debris surrogate

1 material preparation. I think one of the tests  
2 demonstrated that the debris preparation, you talked  
3 about it.

4           You asked me this question right at the  
5 beginning of my presentation. It affects the pressure  
6 drop across the debris bed significantly. What is the  
7 proper way to prepare the debris and the fibers  
8 becomes very important. You can get effect of two  
9 different head loss across the debris bed with  
10 different procedures for shredding the NUKON fibers.  
11 We communicate with the vendors in the May meeting and  
12 I told them this is something that they need to look  
13 into that.

14           The scaling of the debris circumferential  
15 accumulation. For the strainer design if it has  
16 significant amount of debris loading and if the amount  
17 of debris is sufficient to jam the disks so the  
18 circumferential accumulation becomes significant and  
19 dominant in terms of head loss, that needs to be  
20 scaled properly.

21           We talked about the debris addition timing  
22 sequence. The formation of the debris bed is  
23 sensitive to the debris introduction sequence. When  
24 did you add the fiber, when did you add the  
25 particulate, when did you add the chemical

1 precipitants is very important. The question here is  
2 it might be sensitive if you have a very sparse fiber  
3 bed.

4 Temperature dependency. All five vendors  
5 are conducting head loss testing at room temperature  
6 so they scaled back or extrapolated the head loss data  
7 to the onset of recirculation contained at room  
8 temperature to simply use the proportional viscosity  
9 equation.

10 In terms of this particular equation and  
11 approach, I think over all we have already asked  
12 Research to conduct some test over either Argonne or  
13 PNNL. At this point the preliminary test results show  
14 that this may not be an issue. We may be able to use  
15 this proportional viscosity equation to extrapolate  
16 the head loss data and measure at room temperature  
17 back to onset of recirculation 180 degree fahrenheit  
18 or 200 degree fahrenheit.

19 However, there is a possible temperature  
20 dependence. Debris bed structure morphology may  
21 subject to change in which maybe you have fibers which  
22 are sensitive to the temperature and the elasticity of  
23 the fibers are sensitive to the temperature and that  
24 can change the compression characteristic. This may  
25 be something to cause uncertainty there.

1                   For the constant flow the debris bed  
2                   compression is subject to change if you have a  
3                   different temperature because of the pressure gradient  
4                   across the debris bed is going to change for even the  
5                   same debris bed with the same approach velocity but  
6                   different temperature because of the delta P changes  
7                   and the pressure gradient changes across the debris  
8                   bed.

9                   CHAIRMAN WALLIS: The elasticity of the  
10                  fibers change.

11                  DR. LU: Yes. That is the exact reason we  
12                  raised this issue and why they need to look into this.

13                  Another is the bore hole phenomenon or the  
14                  channeling effect. If they have different pressure  
15                  gradient and a different temperature and approach  
16                  velocity, at room temperature if they observe the bore  
17                  hole phenomenon, that may not be proportionately  
18                  related to the viscosity if you have the higher  
19                  temperature. The bore hole phenomenon itself may  
20                  introduce nominal effect although bore hole phenomenon  
21                  is good for the strainer because it does reduce the  
22                  head loss, but how does the vendor to extrapolate the  
23                  data at room temperature back to higher temperature?

24                  CHAIRMAN WALLIS: The bore hole presumably  
25                  lets through material.

1 DR. LU: Yes.

2 CHAIRMAN WALLIS: A hole.

3 DR. LU: Yes. The entire debris bed  
4 actually.

5 Okay. The last common issues I want to  
6 touch on is the integrated head loss and downstream  
7 bypass testing or the downstream pass-through test.  
8 As I mentioned, all five vendors right now have the  
9 graph sample downstream of the strainer so they can  
10 measure the fiber content or the particular contents.  
11 Once they start the pump through the prototypical head  
12 loss testing.

13 The question here is what we had to the  
14 vendors is what exactly can be done to use the  
15 prototypical head loss testing and provide the screen  
16 bypass debris concentration data. Can it be done at  
17 all? We understand that the head loss test is  
18 normally designed to maximize the head loss, maximize  
19 the filtration efficiency of the debris bed. The  
20 testing objective of the downstream pass-through test  
21 or bypass test is to maximize the debris bypass or the  
22 pass-through, through the screen. Can these two  
23 testing objectives meet?

24 CHAIRMAN WALLIS: If you want to maximize  
25 you want to minimize head loss presumably.

1 DR. LU: That's right. That's right.

2 CHAIRMAN WALLIS: The minimum value is  
3 zero but you have an infinitely big screen so minimum  
4 isn't a very good term. Making it adequate and  
5 producing it to the point where it satisfies the  
6 suction head may introduce some other effects.

7 DR. LU: That is exactly true.

8 CHAIRMAN WALLIS: But don't use the term  
9 maximizing or minimizing.

10 DR. LU: That's right. So that are the  
11 issues we raised to the strainer vendors during the  
12 May meeting. We told them these are our concerns and  
13 they told us they understood and they have not  
14 answered how they are going to respond to this.

15 MEMBER MAYNARD: When do they take the  
16 graph sample and how often? Is it a continuous graph  
17 sample?

18 DR. LU: They cannot take it as  
19 continuous. They have to take it as a time interval,  
20 every three minutes or every five minutes do the test.

21 MEMBER SHACK: On this one he must do his  
22 testing for a range of loads.

23 DR. LU: They did.

24 MEMBER SHACK: His maximum load is a  
25 conservative estimate of the total fiber loading but



1 he may well get his maximum pass-through with a much  
2 smaller fiber loading which, in fact, may be  
3 representative of some of his breaks. I mean, he has  
4 to be prepared to handle all breaks.

5 DR. LU: That is exactly true.

6 MEMBER SHACK: He should be sampling that  
7 downstream bypass for that whole range of beds and  
8 hopefully --

9 CHAIRMAN WALLIS: You might want to risk  
10 inform. If you are going to design this thing for the  
11 worse possible large break LOCA, it may not be very  
12 good for the most likely LOCA. I don't know.

13 DR. LU: On the debris bed filtration,  
14 yes. Filtration efficiency, yes. It can be difficult  
15 for the industry to come up with answers to address  
16 this.

17 CHAIRMAN WALLIS: You may need to make  
18 some determinations of acceptance criteria. Look at  
19 the spectrum of LOCAs and how much are you going to  
20 weigh these various ones in terms of the way in which  
21 the screen performs. Go on to give weight too much to  
22 the large break LOCA to the detriment of the small  
23 break or the other way around perhaps. You've got to  
24 have some kind of way of balancing these things.  
25 Unless you are assuming it is always going to work

1 perfectly for everything. Maybe that's what you  
2 require, it is going to work perfectly for everything.

3 MEMBER SIEBER: I think for a very small  
4 break LOCA it's not going to generate that much  
5 debris.

6 CHAIRMAN WALLIS: It's less of a problem  
7 keeping the core cool.

8 MR. SCOTT: Of course, it doesn't have to  
9 work perfectly for everything. It has to work  
10 adequately for everything.

11 CHAIRMAN WALLIS: That's what I meant.  
12 Adequate is perfect. In NRC parlance adequate is  
13 perfect. There is no perfection in NRC, only  
14 adequacy.

15 MEMBER MAYNARD: I do think that more  
16 thought needs to be put into what is the worse case  
17 condition. Is it when the screens are fully loaded or  
18 when the screens are very, very lightly loaded? Which  
19 one creates the worst effect?

20 CHAIRMAN WALLIS: Biggest problem.

21 MEMBER MAYNARD: Biggest problem. Right.

22 DR. LU: But also with such a low approach  
23 velocity for the fibers to pass through the strainer  
24 surface, the chance is very low.

25 All right. The path forward. Regarding

1 all those issues that were raised to the industry we  
2 have developed RAIs as part of General Letter response  
3 to RAIs. We sent to them and we asked for request  
4 justifications for taking the credit for near field  
5 debris settlement. That is one of the issues.

6 We are developing review guidance to  
7 document our positions regarding near-field effect  
8 transport and all those common issues, the positions  
9 I just talked about. We plan to issue this sometime  
10 in the summer. We plan to have more staff observation  
11 trips to different vendors.

12 We also plan to conduct plant audits so  
13 that we can understand more in detail of the vendor  
14 testing program. As part of this General Letter  
15 response review we are going to evaluate the  
16 supplemental response from the licensee regarding the  
17 testing program and according to the SE and any  
18 additional review guidance.

19 CHAIRMAN WALLIS: I wasn't here earlier.  
20 You are going to develop plant specific head loss  
21 correlation? That's what it says on slide 3.

22 DR. LU: Okay.

23 CHAIRMAN WALLIS: Is that true? There is  
24 going to be something that is different for every one  
25 in terms of correlation?

1 DR. LU: The third type of head loss  
2 testing was very unique and we only observed for one  
3 plant at this point. No other plant has been relying  
4 on the plant specific correlation at all. Most of  
5 them will rely on the prototypical head loss testing.

6 CHAIRMAN WALLIS: They are going to do  
7 tests and then prototypically develop a correlation  
8 which they are going to use for the plant. Is that  
9 what their approach is?

10 DR. LU: They are not going to develop  
11 correlation. They are going to --

12 CHAIRMAN WALLIS: Plant specific.

13 DR. LU: For this particular plant, yes.  
14 You are right. They actually did develop a head loss  
15 correlation based on the CRs before.

16 CHAIRMAN WALLIS: Is it just an  
17 alternative or is that --

18 MR. ACHITZL: Shanlai, could I just make  
19 a comment there? That is GE. There is an approved  
20 topical report for that correlation so that vendor was  
21 GE. Correct, Shanlai, in the correlation?

22 DR. LU: No, Alion.

23 CHAIRMAN WALLIS: But the other vendors  
24 are not developing correlations?

25 MR. ACHITZL: At least GE has the

1 correlation.

2 DR. LU: Let me just comment on this one  
3 more time. The head loss correlation approach itself  
4 requires extensive testing for a specific plant with  
5 a specific material. At this point it is a very small  
6 subset of the plants are relying on this head loss  
7 correlation to come up with a justification.

8 CHAIRMAN WALLIS: What are the other ones  
9 relying one?

10 DR. LU: They are relying on the first two  
11 type of tests.

12 CHAIRMAN WALLIS: Do you just take the  
13 numbers from the tests without any equations at all?

14 DR. LU: For the prototypical head loss  
15 testing that is the way they are doing it.

16 CHAIRMAN WALLIS: So you simply make a  
17 plot. You say flow versus --

18 DR. LU: Debris loading.

19 CHAIRMAN WALLIS: Three dimensional thing  
20 for different kinds of LOCAs, flow versus pressure  
21 drop and here's what you get. Use it in the plant.  
22 Don't even ask what it means.

23 DR. LU: Well, okay.

24 CHAIRMAN WALLIS: Is that the approach?

25 DR. LU: I think I actually discussed the

1 overall approach. The vendors are taking it at this  
2 point. They just performed conservative analysis and  
3 determined the debris loading and the transport to the  
4 strainer. They assume it's all right. At the same  
5 time at the onset of recirculation and perform the  
6 bounding --

7 CHAIRMAN WALLIS: They measure the  
8 pressure drop?

9 DR. LU: Yes. They measure the pressure  
10 drop.

11 CHAIRMAN WALLIS: That's what they use in  
12 the plant, the pressure drop that they measured.

13 DR. LU: That's right.

14 CHAIRMAN WALLIS: Okay.

15 MR. CARUSO: One last question. When I  
16 add up the number of plants I come up with 65. Does  
17 that mean four plants are not using these vendors?

18 DR. LU: I think there are some plants  
19 that are still deciding to use which vendor yet.

20 MR. SCOTT: But there are also the ones  
21 that are already done. For example, Davis-Besse who  
22 has already installed and Diablo Canyon had already  
23 installed enlarged strainers so that gets you to three  
24 and there's one more. Not sure.

25 MR. CARUSO: Just wondered.

1 DR. LU: I think that concludes my  
2 presentation.

3 MR. SCOTT: Okay. We now have Dave  
4 Cullison who is going to come and talk to you about  
5 audits.

6 MR. CULLISON: Good afternoon. Dave  
7 Cullison. I'm in the Safety Issue Resolution Branch.  
8 I am here today to talk to you about our plant audit  
9 program where we are going to go to a selected number  
10 of plants and review their resolution of GSI-191.

11 Shanlai is up here with me because at the  
12 end of the presentation about our program, we'll have  
13 a discussion about some of the things we have been  
14 seeing in the Watts Bar audit. Shanlai is the team  
15 leader for that audit so he can answer any questions  
16 you may have.

17 The purpose of our audit program is to  
18 perform in depth assessments of licensee's actions  
19 taken in response to Generic Letter 2004-02. I want  
20 to point out the last two bullets on the slide where  
21 we identify where additional evaluation of licensee  
22 resolutions through the NRC inspection program is  
23 necessary.

24 What that means is that when we go through  
25 the audits if we determine that we may need a change

1 to the inspection program to look at this issue, we  
2 will recommend that. There is a temporary instruction  
3 that has been issued where the regions will go out and  
4 look at every plant and verify the licensees installed  
5 what they said they were going to install. Because  
6 the auditors were only going to do a certain number of  
7 plants, we wanted to make sure that everybody does  
8 what they are supposed to do and that is why we have  
9 the TI.

10 Also another function of these audits are  
11 to determine whether additional audits are needed. If  
12 we find out there are some generic issues that go  
13 beyond the few plants we are looking at, we can  
14 enlarge the scope of the audits..

15 MEMBER SHACK: Do you have a number for  
16 few?

17 MR. CULLISON: On the very next slide.

18 CHAIRMAN WALLIS: Do you have any idea of  
19 the size of the submittals? Are they going to be 500  
20 pages of technical information or are they going to be  
21 one paragraph or what are they going to look like?

22 MR. CULLISON: The supplements?

23 CHAIRMAN WALLIS: All the stuff. RAIs and  
24 there's going to be a description of their screens and  
25 why they work and all that. It's going to be a fairly



1 substantial document. Isn't it?

2 MR. CULLISON: The honest answer is I  
3 don't have any idea.

4 MR. SCOTT: I think it's safe to assume  
5 that it's not going to be a paragraph. They got a  
6 number of RAIs and their responses need to address the  
7 RAIs at a minimum and also address all the generic  
8 letter criteria. I think they are going to be  
9 substantive. I don't think we have a number to attach  
10 to that.

11 MEMBER MAYNARD: I would also expect they  
12 would probably be referencing parts of a number of  
13 other larger documents to take credit for, too.

14 MR. CULLISON: Yes.

15 CHAIRMAN WALLIS: It's going to be  
16 substantial. A substantial amount of material to  
17 review.

18 MR. CULLISON: Yes. We expect -- one of  
19 the benefits of not having them all come in at the  
20 same time is to kind of spread that workload out for  
21 the staff, although there will still be a big bulge in  
22 the workload, if you will, right at the end of 2007.

23 MR. SCOTT: It's 13 as of right now.

24 CHAIRMAN WALLIS: That's more than we  
25 heard before, isn't it?

1                   MR. CULLISON: We have included some  
2 additional ones. That includes the two pilot audits  
3 which we have already done and this is the break down  
4 for the calendar years. It includes Watts Bar. We  
5 are still identifying the plants that we are going to  
6 audit.

7                   MEMBER MAYNARD: Are you going to tell us  
8 a little bit about your selection criteria?

9                   MR. CULLISON: The very next slide. Plant  
10 selection criteria.

11                  MEMBER SIEBER: You guys are cheating.  
12 You're looking ahead.

13                  CHAIRMAN WALLIS: We always ask the right  
14 questions.

15                  MEMBER SIEBER: Let's see what's on the  
16 next one.

17                  MR. CULLISON: We are selecting plants  
18 based on the analysis vendor, the screen vendor, any  
19 unique analyses, and also trying to spread it out  
20 throughout the regions and also looking at the screen  
21 installation schedule. The idea is that we are trying  
22 to look at at least one or two plants from every  
23 analysis vendor and every screen vendor so we get a  
24 selection from each.

25                  That way we can determine if there is

1 possibly an issue with that vendor where we have to  
2 expand scope. The region part is we want to make sure  
3 -- since we encourage region participation in the  
4 audits, we want to make sure all the regions get the  
5 same opportunities.

6           How are we going to conduct the audits?  
7 This is from now on. This doesn't discuss how we  
8 conducted the Watts Bar audit but based on some  
9 lessons learned from that we are changing the way we  
10 conduct the audits.

11           The audits will have eight to 10 team  
12 members, staff and contractors. Like I said, we are  
13 going to encourage regional participation. They can  
14 send anybody they want. They are going to be focused.  
15 We will try to keep them about two months from start  
16 to finish. Have an in-house review of licensee  
17 documents and one or two weeks onsite.

18           The idea is loosely based on my experience  
19 at the region where you have inhouse review, a week  
20 onsite, go back to the office for a week, and then if  
21 we need to go back to the site for another week.  
22 After the second onsite period the all the auditors  
23 should be submitting their reports to the team leader.

24           MEMBER BONACA: Slide 2 you said that you  
25 assess the adequacy of licensee responses of the

1 Generic Letter the adequacy of licensee corrective  
2 actions. You do expect to have a full detailed plan.  
3 I'm not saying SRP but some plan on what is adequate  
4 and what is appropriate, what is acceptable, what is  
5 not.

6 MR. CULLISON: Well, we have an audit plan  
7 which I am currently revising and in that we will have  
8 some review elements in which we are going to have to  
9 update because when they were written six or eight  
10 months ago we have learned a lot since then. That is  
11 going to be guides for the auditors when they go out  
12 what to look for. Hopefully if we get it in there,  
13 with acceptance criteria. The auditors are usually  
14 the subject area matter expert from our office or DCI  
15 in that area so they would know what is okay and  
16 what's not.

17 MR. SCOTT: Let me add something to that,  
18 please. One issue that we have is that we can't do  
19 all the audits at the end of 2007 or the first month  
20 or two in 2008. We are starting the audits now and if  
21 you think about the timeline we described to you,  
22 particularly in the chemical effects area, there are  
23 still a number of open items. When we do an audit in  
24 calendar year 2006, we will basically be doing a  
25 partial audit.

1           We'll audit what they finished and what  
2           they have not finished we will carry as an open item  
3           that will be addressed in Generic Letter responses.  
4           It's an unfortunate situation that we simply can't  
5           wait until the very end and do them all at the same  
6           time.

7           That is somewhat mitigated by the fact  
8           that we are doing in 2006 and early 2007 audits on  
9           plants that will have installed their strainers in  
10          2006 and, therefore, they are committed to provide us  
11          the Generic Letter information by the end of this year  
12          so that will mitigate it somewhat.

13          MR. CULLISON: As Mike said, any open  
14          items coming from the audits will be resolved during  
15          our review of the supplemental responses to the  
16          Generic Letter.

17          Onto the Watts Bar audit. Watts Bar is  
18          our first real audit, if you want to call it that. It  
19          really started when the licensee came in on March 2nd  
20          of this year a large group of them came in. We had an  
21          off-site meeting where they gave presentations on  
22          their analyses, what actions they are taking, the  
23          whole gambit.

24          That was after they had sent us all the  
25          documents and there had been some in-house review.

1 During this audit staff was covering all the baseline  
2 analyses and strainer testing. We issued RAIs which  
3 we will get something probably the end of this month,  
4 knock on wood.

5 We are performing confirmatory  
6 calculations on FLOW-3D. We expect to have the report  
7 out by the end of July. You will notice that there is  
8 a large time gap between March 2nd and the end of July  
9 and that is one reason why we are changing the way we  
10 are doing business so we can get these completed and  
11 the reports out a little faster.

12 Some of the key observations from audit --  
13 of course, this is all preliminary. The report is not  
14 issued and has not been reviewed by management.

15 MEMBER MAYNARD: Briefly, when the report  
16 is issued would that mean that Watts Bar is done or  
17 you still would have --

18 DR. LU: We anticipate open items through  
19 this audit so the audit open items will be addressed  
20 as part of a Generic Letter response review at the end  
21 of December '07.

22 MEMBER MAYNARD: All right.

23 MR. CARUSO: Has Watts Bar sent in their  
24 Generic Letter 2004 response then?

25 MR. CULLISON: The supplement? Everybody

1 sent in their September '05 --

2 MR. CARUSO: Their supplement. Have they  
3 sent in their supplement?

4 MR. CULLISON: No, but --

5 DR. LU: They did as part of that one.  
6 It's part of the draft RAI response to us that  
7 addressed all the RAIs we asked them as part of the  
8 September response review.

9 MR. CARUSO: That was draft?

10 DR. LU: That was draft. The official one  
11 will be sent to us at the end of this month.

12 CHAIRMAN WALLIS: Let me go back to the  
13 previous slide. You said staff confirmatory  
14 calculations are being performed. What does Watts Bar  
15 do? Does TVA run some sort of a code to predict these  
16 things or how did they justify that --

17 DR. LU: TVA, I think, contracted a line  
18 to perform the transport calculation.

19 CHAIRMAN WALLIS: Did they use CFD?

20 DR. LU: Yes, they used CFD.

21 CHAIRMAN WALLIS: Did they use some sort  
22 of a code for downstream core evaluation too?

23 DR. LU: They actually decided to use  
24 conservative approach to determine the source term and  
25 then perform the analysis. Their position was there

1 was no issue related to the downstream core.

2 CHAIRMAN WALLIS: Didn't do any analysis  
3 of the downstream core?

4 DR. LU: They did and they have that  
5 analysis there but they performed a very conservative  
6 analysis instead of performing a code calculation.

7 MR. CULLISON: Some of the key  
8 observations. They are a low fiber plant, mostly RMI.  
9 They are assuming that all containment coatings fail.  
10 They are not taking any credit for qualified coatings.

11 Transport. Everything but the RMI  
12 transporting to the strainer. They used CFD to  
13 calculate the RMI debris.

14 CHAIRMAN WALLIS: Did they know how to  
15 calculate the effects of coatings on a strainer?

16 DR. LU: They assume entire containment  
17 coating failed and 100 percent transportable to the  
18 strainer.

19 CHAIRMAN WALLIS: But in what form? Was  
20 it in chips or particles or what?

21 DR. LU: In chips.

22 CHAIRMAN WALLIS: In chips? Did they know  
23 how to calculate the pressure drop across the strainer  
24 with chips?

25 DR. LU: Hold on. Matt is going to talk



1 about that.

2 MR. YODER: Watts Bar actually used chips  
3 and particulate debris. Because they are a low-fiber,  
4 almost no-fiber plant, the thought is a chip if it  
5 makes it to the strainer surface is going to plug that  
6 hole so they took chips roughly the size of the  
7 strainer hole or slightly larger under the thought  
8 that -- this is in the staff guidance as well. For a  
9 plant without fiber we told them to assume chip  
10 debris. Then they took particulate debris for the  
11 zone of influence and the other --

12 CHAIRMAN WALLIS: But the area of the  
13 containment covered with coating is much bigger than  
14 the area of the screen so if you take all that coating  
15 and put it on all the holes, you've blocked them all.

16 MR. YODER: They actually put the coating  
17 debris into their flume test and at the end of that  
18 test actually shoved all of these coatings onto the  
19 strainer itself and they were still able to maintain  
20 flow.

21 CHAIRMAN WALLIS: It was based on a test?

22 MR. YODER: Correct.

23 CHAIRMAN WALLIS: It wasn't based on some  
24 kind of semi-theoretical let's say.

25 MR. YODER: They actually put the debris

1 in and used the test to prove that.

2 MEMBER SIEBER: That was confirmed by  
3 another test also that stacked up paint chips will  
4 pass flow.

5 MR. YODER: I think in some of the PNL  
6 work that we heard about yesterday even when they put  
7 all the chips on there was enough of a tortuous path  
8 that the flow could get through.

9 MEMBER SIEBER: Right. So this is not  
10 inconsistent with all the other tests.

11 MR. CULLISON: And for head loss the --

12 CHAIRMAN WALLIS: I'm just wondering what  
13 ACRS should do. You have done all this. At some  
14 point would it be appropriate for us to audit your  
15 audit or something? I don't really want to do that.  
16 I would just like to say that you have done a good job  
17 but do we get involved at all in checking the quality  
18 of what industry does and your evaluation?

19 MEMBER BONACA: I have the same question.  
20 I mean, I guess I misunderstand the word audit. To me  
21 audit means you are looking at the compliance with  
22 certain specific requirements.

23 DR. LU: That is exactly true.

24 MEMBER BONACA: Now, it would seem to me  
25 that you have four or five different kind of

1 approaches to the resolution of this problem. A  
2 number of clients have used one type or the other one  
3 and so on. There will be a phase where you are  
4 reviewing the approaches taken on a generic basis but  
5 you are not doing that.

6 DR. LU: I think based on what we observed  
7 so far most of the licensees are following the  
8 guidance report to perform debris generation and  
9 transport calculations. The only difference there  
10 comes from vendor testing, the head loss data or the  
11 choice of the strainer itself.

12 MEMBER BONACA: So you decided that the  
13 NEI process is appropriate?

14 MR. SCOTT: Well, it's not a simple answer  
15 to that. There is the staff's SE from two years ago  
16 which provides review guidance in some but not all  
17 areas. The other areas, chemical effects, you heard  
18 we are going to develop review guidance for that.

19 You heard Shanlai mention that we are  
20 going to develop review guidance for the head loss  
21 testing in the near-field effect and review guidance  
22 in a couple of other areas, too. I think you also  
23 heard that we are expecting that some of that review  
24 guidance will be iterative. The review guidance will  
25 be applied to the audits and those will be the

1 criteria we will use.

2 As for the question of ACRS review of the  
3 audits --

4 MEMBER SIEBER: Give us the report.

5 MR. SCOTT: Well --

6 CHAIRMAN WALLIS: Review of something.

7 Shouldn't we be reviewing something to sort of play a  
8 role of checking that things are going okay or should  
9 we just leave it all up to you and then you come back  
10 at some later date with something for us to see? How  
11 do we get involved with this stuff?

12 MR. SCOTT: One suggestion, if I might.  
13 You might want to look at the review guidance that  
14 we've told you we are going to develop and weigh in on  
15 that.

16 CHAIRMAN WALLIS: While it's being  
17 developed?

18 MR. SCOTT: At some point during its  
19 development.

20 CHAIRMAN WALLIS: When we can be most  
21 useful. Okay. Review guidance.

22 MEMBER MAYNARD: I really don't think the  
23 ACRS should get in the role of independent audit of  
24 the NRC's audit.

25 CHAIRMAN WALLIS: That's not really our

1 job.

2 MEMBER MAYNARD: Right.

3 CHAIRMAN WALLIS: That's not our job.

4 MEMBER SHACK: But the scaling arguments,  
5 for example, to support the near field transport  
6 sounds like something that --

7 DR. LU: Be part of the review guidance.  
8 That will be part of review guidance.

9 CHAIRMAN WALLIS: Technical guidance.

10 MEMBER BONACA: I think we should make a  
11 judgement of whether or not we think this is all  
12 technically adequate. Otherwise we are spinning our  
13 wheels and wasting our time.

14 MEMBER SIEBER: Before you leave this  
15 slide, I have a question about the transport bullet.  
16 Maybe you can tell me what RMI debris looks like. My  
17 picture of it is a bunch of ripped up sheet metal. I  
18 would not think even if you transported all this stuff  
19 to a strainer some place that it would impede the flow  
20 very much. It would just provide surface for other  
21 debris to accumulate on. Do I have that right or  
22 wrong?

23 DR. LU: You're right. I think based on  
24 our observation of the test most of the RMI just  
25 settles at the bottom of the flume and becomes like

1 porous medium for the water to go through. It really  
2 does not add additional head loss on the surface of  
3 the strainer so you are right. In terms of the  
4 transport we are trying to figure out how much RMI  
5 would be transported based on the safety of analysis.

6 MEMBER SIEBER: It really doesn't make any  
7 difference how much is transported since it has no  
8 effect on head loss.

9 DR. LU: That's correct. For this  
10 particular plant, yes.

11 MR. SCOTT: So being an RMI plant is  
12 arguably a good thing.

13 CHAIRMAN WALLIS: Well, now, you're saying  
14 all containment coatings fail and then you're saying  
15 they are all transported to the strainer?

16 DR. LU: That's right.

17 CHAIRMAN WALLIS: The strainer area is  
18 4,600 feet square. The typical containment coatings  
19 area is several hundred thousand square feet and so I  
20 have to do some math here but it looks as if you've  
21 got something like whatever it is. It is probably 70  
22 square feet of container coating per square foot of  
23 strainer. You are going to put 70 layers of coating  
24 and put it on the strainer and it's not going to have  
25 trouble?

1 DR. LU: Actually that's what we observed.

2 CHAIRMAN WALLIS: That's what you  
3 observed?

4 DR. LU: Yes. First we dumped all the  
5 coating chips, RMI, and the fibers upstream of the  
6 strainer so we questioned whether this was because of  
7 the artificial near field transport. They did not  
8 take enough credit from the near field transport and  
9 then later say, "Okay, let's just shovel everything  
10 upstream in the flume and bury the entire strainer and  
11 see what is the head loss." The head loss was higher  
12 than the previous condition but it was still  
13 significantly lower than the --

14 CHAIRMAN WALLIS: Something like an inch  
15 of debris on the strainer? Is that right?

16 DR. LU: Actually it's the entire  
17 strainer.

18 CHAIRMAN WALLIS: What is the thickness of  
19 stuff you get on the strainer?

20 MR. YODER: Matt Yoder from NRR. One  
21 thing that we observed is it's physically impossible  
22 to get all of this debris onto the strainer. There is  
23 just so much debris it cannot be done.

24 CHAIRMAN WALLIS: Where does it go?

25 MR. YODER: In a mound around the base of

1 the strainer and piled --

2 CHAIRMAN WALLIS: One reason the strainer  
3 works is that it's not uniformly coated.

4 DR. LU: That's right.

5 CHAIRMAN WALLIS: That helps a lot. So  
6 the stuff piles on the bottom of the strainer and the  
7 top part of the strainer is relatively clear then.

8 DR. LU: I don't have a picture but  
9 visually you can consider because of very low approach  
10 velocity the chip itself becomes very -- there's a  
11 huge mountain but it was such a high void fraction  
12 that --

13 CHAIRMAN WALLIS: That's what bothered me  
14 when you said all debris is assumed to be transported  
15 to the strainer. You don't really mean that it gets  
16 to the holes. You mean it gets to the vicinity of the  
17 strainer.

18 DR. LU: That's right.

19 CHAIRMAN WALLIS: Then use CFD to figure  
20 out where it goes, whether it goes up into the  
21 strainer or falls on the floor.

22 DR. LU: They calculate the fraction of  
23 the debris, RMI debris, from the containment pool.

24 CHAIRMAN WALLIS: So it doesn't all go  
25 onto the strainer. It does not all go onto the



1 strainer.

2 DR. LU: No.

3 MEMBER DENNING: So would you say this is  
4 credit for a near-field effect?

5 DR. LU: Yes. Right at the very beginning  
6 of the test.

7 MEMBER DENNING: I thought you were  
8 telling us the opposite here.

9 DR. LU: Right at the beginning. They  
10 calculated the total amount of debris close to the  
11 nearby region of the strainer. Then they dumped all  
12 the debris in the testing flume and the testing flume  
13 demonstrated that most of the debris actually did not  
14 end up on the surface of the strainer. We questioned  
15 that testing approach and they decided to shovel in as  
16 much of the debris as they can to bury the entire  
17 testing section.

18 CHAIRMAN WALLIS: If you know what the  
19 size of the debris is but these are coatings. Do you  
20 know how to predict the size of the coating flakes or  
21 particles or whatever they are?

22 MR. YODER: The justification for the size  
23 of the coatings that were used, as I said, these were  
24 all ruffled, the size of the holes or larger, and the  
25 distribution --

1                   CHAIRMAN WALLIS:  Then they would fall  
2     out.

3                   MR. YODER:  That's correct, but since this  
4     is a no fiber plant, that's the only way the coating  
5     is going to impact the head loss.  If you have  
6     particulate coating they are going to pass straight  
7     through and not impact the head loss at all.

8                   CHAIRMAN WALLIS:  If the containment  
9     coatings are small enough they would all pass through?

10                  MR. YODER:  If you don't have a fiber bed  
11     to filter them out on, yes.

12                  CHAIRMAN WALLIS:  You get 300,000 square  
13     feet of coatings in the reactor?

14                  MR. YODER:  Some portion of it would pass  
15     into the reactor, yes.

16                  MEMBER DENNING:  You mean particulate.

17                  CHAIRMAN WALLIS:  Whatever the coatings  
18     became.  The coatings are going to become very tiny  
19     particles now and they are all going to go through the  
20     strainer  because they are assumed to be all  
21     transported.

22                  MEMBER SIEBER:  That's a nice color.

23                  CHAIRMAN WALLIS:  Then presumably then end  
24     up going through the reactor, too, and coming back  
25     around again.

1                   MEMBER DENNING: Now, wait a second. They  
2                   are not double treating the -- I mean, in their tests  
3                   I gather what happened was they took all the coatings  
4                   and pretended they were chips. Right? Okay. Then  
5                   they fell out. A lot of them fell out so they did  
6                   something to maximize how much of it they could get  
7                   onto the strainer. It's not totally clear to me how  
8                   they did that but even in that process of trying to  
9                   maximize it, a fair amount of it still did not go onto  
10                  the surface of the strainer. Is that correct?

11                  MR. YODER: They actually buried. I mean,  
12                  they physically shoved this stuff onto the strainer  
13                  and on top of it and all around it as much as you  
14                  possibly could to get this stuff on it and around it  
15                  and still were able to have a flow.

16                  MEMBER DENNING: You piled it up.

17                  MR. YODER: Right. To address Dr. Wallis'  
18                  comment, remember they are running five to 10 tests so  
19                  they ran another case where they introduced all the  
20                  coating debris as particulate and they did sample the  
21                  downstream so they have that data.

22                  CHAIRMAN WALLIS: Did a lot of it go  
23                  through?

24                  MR. YODER: Yes.

25                  CHAIRMAN WALLIS: A lot of it did go

1 through so then we have to think about downstream  
2 effects maybe.

3 MEMBER SIEBER: You know, there is one  
4 very conservative assumption piled onto another all  
5 the way through this. I can't imagine, for example,  
6 in any space other than regulatory space where you  
7 would assume that all the coating failed and ended up  
8 at the sump. Secondly, the transport models in the  
9 tests and experiments that were performed showed the  
10 stuff really doesn't transport.

11 Those two things combined say that the  
12 amount of deposits that actually end up on the  
13 strainer is going to be relatively small. Even if  
14 they end up there, they will pass water. I think it  
15 is fair to use all these conservative assumptions,  
16 particularly if you come out looking good anyway. On  
17 the other hand, I think it is fair to recognize how  
18 conservative a position this really is. I think it's  
19 extremely conservative.

20 MEMBER BONACA: I imagine it will be  
21 piling up with debris all over the area.

22 MR. ACHITZL: I would just like to make  
23 one comment about Watts Bar. Going way back when this  
24 thing started there were a set of plants that we felt  
25 nobody had to do anything for any accident. I would

1       like to reflect with an RMI plant like you mentioned  
2       with the coatings and stuff like that with a fairly  
3       big strainer before they spent the \$5 million here,  
4       that was one of the plants that we decided didn't have  
5       to do anything for any accidents. I mean, yes, they  
6       are making changes but I'm not sure those are  
7       necessarily dollars well spent I guess is my thought.

8                   DR. LU: Bottom line I think the head loss  
9       is very conservative in terms of the margins they  
10      have. The new trainer they are going to put it in.

11                   CHAIRMAN WALLIS: The only kind of reason  
12      you have a little bit of reticence perhaps in that is  
13      that people that thought before that everything was  
14      fine. Before the thin bed effect was discovered  
15      everyone thought things were fine. Then something  
16      happened in the BWRs and it was discovered that a  
17      rather small amount of debris just left there because  
18      they hadn't cleaned the suppression pools enough to  
19      block the strainer so there were surprises.

20                   When people come in with a lot of these  
21      things like, "I think it's okay because we are very  
22      conservative and this isn't going to happen," and so  
23      on, it sounds good but there have been surprises  
24      before. I can't tell you that you're going to have  
25      surprises again and maybe the ACRS isn't going to be

1 involved in trying to guess but you might find there  
2 are surprises.

3 MR. WHITNEY: This is Leon Whitney from --

4 CHAIRMAN WALLIS: I think I am reluctant  
5 to say everything you are doing is fine. I am  
6 reluctant to say its lousy. I may be reluctant to say  
7 anything about it. Just wait and see.

8 MR. WHITNEY: This is Leon Whitney from  
9 SSIB. Indeed, the licensees' strategies are no  
10 surprises 10 years from now and that's why they go to  
11 these large strainers in part even when you could  
12 argue that maybe they don't need such massive  
13 strainers in a particular plant. They use all the  
14 conservatism in the analysis and then they can back  
15 off those conservatisms if there is a surprise. There  
16 is a lot to do with in the psychology of licensees.

17 CHAIRMAN WALLIS: What was the size of  
18 that strainer before?

19 DR. LU: I cannot remember the exact  
20 number.

21 CHAIRMAN WALLIS: Was it smaller?

22 DR. LU: It's much, much smaller. It's  
23 about 40 or less square feet. I cannot remember the  
24 exact number.

25 CHAIRMAN WALLIS: I thought Ralph implied

1 it was not a very big change.

2 MR. YODER: The change was significant but  
3 I think what Ralph was saying is that because they are  
4 a low fiber plant and all these other factors, they  
5 didn't have the kind of problems that a plant with a  
6 lot of fiber that creates a bed has.

7 CHAIRMAN WALLIS: Are they changing the  
8 whole size and the strategy now?

9 DR. LU: Yes, they did.

10 CHAIRMAN WALLIS: What kind of strainer is  
11 it?

12 DR. LU: It's a PCI strainer. I think we  
13 can go back to slide --

14 CHAIRMAN WALLIS: Is it the pigeon hole  
15 one?

16 DR. LU: It's the stacked disk, flat,  
17 square shaped.

18 CHAIRMAN WALLIS: Okay. That's the one  
19 where you have to worry about whether or not the stuff  
20 can get into the area because it might jam on the  
21 outside.

22 MEMBER SIEBER: Right.

23 DR. LU: That's right.

24 CHAIRMAN WALLIS: Okay. Thank you.

25 MR. CULLISON: Moving on to chemical

1 effects, Watts Bar uses sodium tetraborate as their  
2 buffer agent which means ICET test 5 is most  
3 applicable for their plant specific environment.  
4 There is insufficient fiber to form a debris bed.  
5 That's what we have been discussing.

6 The licensee added a significant amount of  
7 margin to the screen area to accommodate chemical  
8 effects.

9 MEMBER SIEBER: What about aluminum  
10 content in containment? Do you know anything about  
11 that?

12 MR. CULLISON: I think Paul is going to  
13 answer your question.

14 MR. KLEIN: Paul Klein. The aluminum  
15 content, I believe, is less than 1 percent of the ICET  
16 5 value that was tested.

17 CHAIRMAN WALLIS: Well, the 5 percent it  
18 would seem to be gratuitous, not something that really  
19 is necessary, the 50 percent margin.

20 MR. KLEIN: I think Leon had discussed  
21 earlier that they wanted to add plenty of margin to  
22 account for surprises down the road.

23 CHAIRMAN WALLIS: Well, we know that  
24 chemical effects in the wrong social senses can have  
25 an effect which is larger than 50 percent on pressure



1 drop.

2 MR. SCOTT: The other consideration I  
3 think for the licensees is that the marginal cost of  
4 adding another module of strainers is not that great  
5 once you've made the investment in the design for the  
6 whole set.

7 DR. LU: This particular plant has  
8 sufficient space to put the strainer so that is the  
9 reason they made it as conservative as they can.

10 MEMBER SIEBER: So this is not a good  
11 plant to test your prototype audit plan.

12 MEMBER DENNING: Exactly.

13 MR. SCOTT: Actually, we wanted to start  
14 with a relatively less challenging one. We are  
15 working our way up to the more challenging ones.

16 MEMBER SHACK: I was going to ask you how  
17 Ford Calhoun came out because that's not so trivial.

18 DR. LU: I think we issued a pilot audit  
19 about Ford Calhoun. I don't think this particular  
20 presentation was intended to address that particular  
21 issue. However --

22 MEMBER SIEBER: We'll just read about  
23 that.

24 DR. LU: Yes.

25 MEMBER DENNING: Now, definitely tell us

1       how you do an in-vessel evaluation that was performed  
2       conservatively. I want to know.

3               DR. LU: I don't know whether Tom is here.  
4       My understanding is -- before Tom starts maybe I can  
5       make a few comments. My understanding is they applied  
6       that very conservative debris source term to the  
7       downstream evaluation for the core.

8               MR. HAFERA: As I mentioned during my  
9       presentation, this is a plant that doesn't even have  
10      enough fiber to make a bed in their reactor so it  
11      becomes very difficult to say you are going to have  
12      some kind of a thin bed or any kind of bed on the  
13      lower core plate or on the fuel nozzle inlet or at the  
14      grid straps because they just don't have enough fiber.

15              MEMBER DENNING: What analysis did they  
16      actually do?

17              MR. HAFERA: They did a hand calculation.  
18      Now, one of the other things that they are doing,  
19      though, is they are deferring --

20              CHAIRMAN WALLIS: How many calculations  
21      did they do? They used their hand but what was the  
22      calculation? Can you sketch out what it was?

23              MR. HAFERA: Let me finish. They did a  
24      hand calculation that basically said they didn't have  
25      enough fiber to create a bed and, therefore, it's not

1 a problem. What they also did was they deferred  
2 essentially. We asked them a number of RAIs and at  
3 that point they deferred to the new Owners Group WCAP  
4 that's being developed so they are not considering  
5 that to be final.

6 CHAIRMAN WALLIS: What was the hand  
7 calculation then? What was it based on? It must have  
8 been based on some sort of principle or balance of  
9 mass or something. Can you sketch out the logic of  
10 the calculation?

11 MR. HAFERA:  $Q$  is equal to  $M \Delta H$ .  
12 That's how you move heat. You don't effect the --

13 CHAIRMAN WALLIS: How much product for the  
14 matter came through the screen and where it went.  
15 What did they do about that?

16 MR. HAFERA: Again, the particulate matter  
17 becomes an analysis of whole size in your reactor  
18 because what you find is they had enough adequate  
19 bypass paths that would not capture small particulates  
20 because the bypass paths are on the order of an inch  
21 to an inch and a half.

22 CHAIRMAN WALLIS: What goes through the  
23 screen would not block the flow to the reactor.

24 MR. HAFERA: Correct because the bypass  
25 paths are on the order of an inch to an inch and a

1 half and their strainer size hole was 1/12th of an  
2 inch I believe, the final strainer hole.

3 CHAIRMAN WALLIS: Don't they have debris  
4 catchers at the bottom of the core that catch debris?

5 MR. HAFERA: Well, again, your lower fuel  
6 nozzle has -- your core plate has debris holes and  
7 your lower fuel nozzle, depending on your fuel design,  
8 has debris catchers and that can catch certain debris  
9 but it wouldn't catch small particulates because  
10 actually those holes are typically larger than the  
11 ECCS strainer because by design the ECCS strainer is  
12 supposed to be smaller.

13 CHAIRMAN WALLIS: Do you know the size of  
14 the holes in these strainers?

15 MR. HAFERA: Not off the top of my head.  
16 They were larger than the holes in the ECCS strainer.

17 CHAIRMAN WALLIS: The people who sell  
18 these strainers emphasis how effective they are at  
19 catching stuff.

20 MR. HAFERA: Right.

21 CHAIRMAN WALLIS: And you're telling me  
22 how ineffective they are.

23 MR. HAFERA: Well --

24 MEMBER MAYNARD: I think it's for a  
25 different purpose.

1                   MR. HAFERA:  It's for a different purpose.  
2           That's  right.  Unfortunately you missed the  
3           presentation, Dr. Wallis --

4                   CHAIRMAN WALLIS:  Very sorry.

5                   MR. HAFERA:  -- where we basically showed  
6           that you can block 99.9 percent and still okay.

7                   CHAIRMAN WALLIS:  All right.

8                   MEMBER MAYNARD:  The strainer size should  
9           be smaller than what your nozzles are for your fuel.  
10          The debris catchers in the fuel design in case you  
11          have some sort of lose part that gets into the RCS or  
12          something else in there, it is sized so that --

13                  PARTICIPANT:  They are not for particles.

14                  MEMBER KRESS:  In the aerosol business,  
15          which may not be an exact analogy, if you continue to  
16          flow aerosols out a leakage path that is a pipe of six  
17          inches in diameter.  It will eventually plug the  
18          entrance to that pipe if you just continue flowing it  
19          through.  These aerosol particles are 10 microns down.  
20          I don't know if the same thing would happen if you  
21          continued to recirculate particles through a bigger  
22          opening.  Would it eventually plug up that anyway even  
23          though they are much smaller than the opening?  I know  
24          it happens with aerosols.

25                  MEMBER BONACA:  That's right.  That is

1        what we were discussing this morning about the core,  
2        about recirculation and having certain areas where you  
3        begin to have accumulation and then you have  
4        blockages.

5                    MEMBER KRESS:  I don't know if we run  
6        these tests long enough and recirculate enough to  
7        decide whether or not eventually you are going to plug  
8        a pipe situation.

9                    CHAIRMAN WALLIS:  If you pour all your  
10       salad dressing down the drain in your kitchen it would  
11       probably block it up, too.

12                   MR. HAFERA:  To address that issue, you  
13       have to recognize also (a) how the LOCA event  
14       progresses.

15                   MEMBER KRESS:  That's true.

16                   MR. HAFERA:  (b) how is the plant  
17       constructed; (c) what are the emergency procedures and  
18       how is the plant operated post LOCA.  One of the key  
19       factors to recall is every pressurized water reactor  
20       in the country after a period of time goes on to  
21       simultaneous or hot leg recirculation to flush braun  
22       precipitation out of the reactor vessel.  We would not  
23       expect that these precipitants would behave  
24       significantly different than that.

25                   MR. CULLISON:  To finish up, over all our

1 preliminary finding is the design of the Watts Bar  
2 strainer appears to be robust with sufficient margin.

3 CHAIRMAN WALLIS: That's preliminary.  
4 That's why it appears to be.

5 MR. CULLISON: Right.

6 CHAIRMAN WALLIS: When you reach a final  
7 conclusion you will state it is adequate.

8 MR. CULLISON: When it gets signed off by  
9 management, then it is instead of appears.

10 CHAIRMAN WALLIS: So now you are going to  
11 do some difficult ones later on.

12 MR. CULLISON: Yes.

13 CHAIRMAN WALLIS: Good. Thank you very  
14 much.

15 MR. SCOTT: Okay. Our final presentation  
16 of the day is Leon Whitney is going to talk to you  
17 about the process that we are planning to use to  
18 ultimately close out the Generic Safety Issues. You  
19 all had some process oriented questions so please bear  
20 with us when we give you a process oriented discussion  
21 here.

22 MR. WHITNEY: Good day. Leon Whitney from  
23 Safety Issues Resolution Branch. I'm going to talk  
24 about the end game in the Generic Safety Issue 191.  
25 We are going to talk about the top level activities.

1                   We are going to resolve all the technical  
2                   issues that we've talked about both yesterday and  
3                   today. Chemical effects, downstream effects including  
4                   in-vessel, retransport and near-field effect,  
5                   qualified and unqualified coating adhesion, coating  
6                   debris characteristics and transport, and debris head  
7                   loss.

8                   CHAIRMAN WALLIS: What do you mean by  
9                   resolve technical issues?

10                  MR. WHITNEY: Well, at least get to the  
11                  point of review guidance where we can --

12                  CHAIRMAN WALLIS: That means review  
13                  guidance.

14                  MR. WHITNEY: Implication thereof.

15                  MR. SCOTT: But there is a proceduralized  
16                  NRC process for resolving and closing generic safety  
17                  issues and that is what we are ultimately talking  
18                  about.

19                  CHAIRMAN WALLIS: It depends upon the  
20                  context. If you want to publish in a journal  
21                  something about chemical effects, that is something  
22                  but if you want to say that you are satisfied that the  
23                  design is adequate or assure public safety for certain  
24                  plants, you may be able to make a very crude  
25                  assessment of chemical effects and, therefore, there



1 is no chemical effect. Resolving depends very much on  
2 the context.

3 MR. WHITNEY: We need to declare the  
4 adequacy in accordance with 5046.

5 CHAIRMAN WALLIS: That's what you mean by  
6 it.

7 MR. WHITNEY: That's the over-arching  
8 goal.

9 CHAIRMAN WALLIS: So you don't mean that  
10 you have to get a debris head loss correlation which  
11 is accurate to one part in a thousand or something.  
12 You mean that because of the experiments that are  
13 being performed you have adequate assurance that the  
14 strainer will meet its specifications.

15 MR. WHITNEY: And that the entire plant  
16 during the LOCA operates as required by design --

17 CHAIRMAN WALLIS: Oh, that's what you mean  
18 by resolving technical issues. It really means  
19 assurance that the core will be adequately cooled.

20 MR. WHITNEY: Long-term cooling is  
21 assured.

22 CHAIRMAN WALLIS: Okay.

23 MR. WHITNEY: Well, the steps are to  
24 observe the strainer testing at vendor testing  
25 facilities, document any issues and make NRC staff

1 comments available to affected licensees.

2 Issue NUREGs addressing results of NRC  
3 confirmatory testing, obviously in conjunction with  
4 the Office of Research.

5 CHAIRMAN WALLIS: NRC confirmatory  
6 testing. That's the ones which have been done so far  
7 really.

8 MR. WHITNEY: Research has taken the lead  
9 in most --

10 MR. SCOTT: And in the future if the need  
11 is determined to do more, than that would go in here  
12 as well.

13 MR. WHITNEY: Revise the Generic Letter  
14 audit plan as needed based on evolving technical  
15 knowledge. We have talked about individual sets of  
16 review guidance for various technical issues. Process  
17 license amendment requests to support licensee Generic  
18 Letter schedules. Those are in process. There's a  
19 small number of those, five to eight as I remember.

20 Conduct Generic Letter plant audits for a  
21 sample of 12 selected PWRs. We are going to have to  
22 reach closure on the open items. As we talked about  
23 that, it may be during the supplemental response time  
24 period and not necessarily during the plant audit. We  
25 will consider based on the audit results whether to

1 increase the audit sample size to ensure adequate PWR  
2 fleet response to Generic Letter.

3 Also we will verify the adequacy of the  
4 2006 and 2007 Generic Letter supplemental responses  
5 and/or responses to February 2006 requests for  
6 additional information for each PWR. As you remember,  
7 the RAI response --

8 CHAIRMAN WALLIS: I guess 12 is equal to  
9 13?

10 MR. WHITNEY: Well, you would have 12  
11 more and I guess Watts Bar --

12 CHAIRMAN WALLIS: Oh, you counted 12 more.  
13 Okay. That's why you get 13.

14 MR. WHITNEY: As you'll remember, the RAI  
15 responses may be folded into the Generic Letter  
16 supplemental responses. The regions will be  
17 conducting inspections under the TI-2515/166 to verify  
18 implementation of the Generic Letter plant  
19 modifications and procedural changes as described in  
20 the Generic Letter supplemental responses and RAI  
21 responses.

22 MEMBER BONACA: How different are these  
23 inspections from the audits?

24 MR. WHITNEY: They are looking at  
25 implementation not technical adequacy. What did you

1       promise and did you do what you promised as opposed to  
2       is that strainer big enough, is this --

3               MR. SCOTT:  What did you say you going to  
4       install versus what you actually installed.

5               MR. WHITNEY:  And/or procedural changes.  
6       Evaluate extension requests for Generic Letter  
7       modifications and procedural changes based on SECY-06-  
8       0078 extension criteria.  There have been five of  
9       those, six actually on our plate.

10              One denied, four approved, and one in  
11      progress and there are other ones coming, two or three  
12      that we know about.  None of them have gone past  
13      spring 2008 in their request.  And develop Generic  
14      Letter closure letters for each PWR based on  
15      supplemental responses, RAI responses, pilot results,  
16      if any, because we're not doing audits of every plant  
17      at this point, and/or the TI-2515/166 implementation  
18      inspections.

19              MEMBER DENNING:  What does the closure  
20      letter actually say?  Does it say we accept?  It just  
21      says we agree that you have submitted the information  
22      or does it say more than that?

23              MR. WHITNEY:  When it's submitted we are  
24      going to have to assess the adequacy as it appears in  
25      the documentation.  Remember we are writing RAIs so

1 that whatever holes we can fill the holes.

2 MEMBER DENNING: But you only look into  
3 TIL at 13 but you basically tell everybody else the  
4 results.

5 MR. WHITNEY: The sample size of which we  
6 can increase if we had indication that there was a  
7 generic failure out there or something significant  
8 that drove us to audit more.

9 MEMBER DENNING: What is your schedule for  
10 when those closure letters would be written?

11 MR. WHITNEY: They are subject to these  
12 supplemental responses so there are two tiers, 2006  
13 and the 2007, tiers of responses based on when the  
14 strainers are installed. They all can't be written  
15 soon.

16 MEMBER DENNING: But for 2006 would you  
17 write them as soon as you could after?

18 MR. WHITNEY: I would expect in late 2006  
19 and early 2007 we would be writing the 2006 ones.  
20 Depending, again, if there was an audit at one of  
21 those plants we would not issue the letter until the  
22 audit. When we actually issue the letters there would  
23 be a management decision.

24 MR. SCOTT: As soon as for a particular  
25 plant all the pieces are in place that we have talked

1 to you about and we've gotten sufficient information  
2 to verify that they are in compliance, then we can go  
3 ahead and write that letter.

4 That at the earliest, I assume none of the  
5 responses will come in until right at the end of this  
6 calendar year so then we'll start looking at them. If  
7 there are no remaining open issues, RAIs, etc., then  
8 we can write the letter. Now, whether that is going  
9 to be the case for the early plants that come in,  
10 that's questionable.

11 MEMBER MAYNARD: Also, for the audits, 13  
12 audits probably covers close to 18 or 20 plants. Some  
13 multi-unit sites would be covered in that.

14 CHAIRMAN WALLIS: Then there are some  
15 plants which are quite similar to other plants.

16 MR. WHITNEY: And in 2008 we will be  
17 briefing ACRS. We'll be updated the standard review  
18 plan based on the knowledge gained and the information  
19 that we understand about the Generic Safety Issue  
20 closure. We will ensure that Regulatory Guide 1.82,  
21 "Water Sources for Long-term Recirculation Cooling  
22 Following a Loss-of Coolant Accident," is updated with  
23 the latest GSI-191 related information. Maybe we'll  
24 still be auditing and writing letters.

25 CHAIRMAN WALLIS: Might still be doing

1 research.

2 MR. WHITNEY: There are only so many  
3 people in the section and then DCI.

4 CHAIRMAN WALLIS: It would be nice to move  
5 on from this issue and do other things which might  
6 actually be more important for reactor safety.

7 MR. WHITNEY: It would be very nice to  
8 move on.

9 CHAIRMAN WALLIS: Are you going to finish  
10 up, Mike? Are you going to have a few final remarks  
11 for us?

12 MR. SCOTT: Yes. A very few, yes. In  
13 closing, I would just like to say that, again, we  
14 appreciate the opportunity to come in and brief you  
15 again and we are looking forward to a number of  
16 additional opportunities. I believe we are going to  
17 be talking to you again in August along with the  
18 vendors.

19 I think the vendor presentations will  
20 hopefully answer a number of your detailed questions  
21 if we didn't fully fill the bill on those today. Of  
22 course, we only had one slide per vendor so you didn't  
23 get much detail.

24 Ralph, I assume you're looking at several  
25 hours with each vendor in August?

1                   CHAIRMAN    WALLIS:  Something with  
2                   Westinghouse or the PWROG.

3                   MR. SCOTT:  The OG, whatever the OG is.  
4                   We'll work that acronym out.  Anyhow, so you are going  
5                   to get some of that information in August.  You are  
6                   going to hear a lot more from us, I think, right  
7                   around the new year when we start getting these  
8                   packages in and we start getting a look at them and  
9                   finding out how much they are filling the bill for us  
10                  and whether we need to adjust the plan to deal with  
11                  what comes in.

12                  Between now and then we'll start having  
13                  the guidance documents drafted and we'll keep in touch  
14                  with Ralph and let you know when we think they are  
15                  right for a look from the Committee.

16                  We do appreciate the fact, as you all  
17                  noted in your March letter, and as several of the  
18                  members talked about today, we appreciate your  
19                  agreement that we basically put an appropriate  
20                  emphasis on making near-term enhancements to the sump  
21                  designs as our top priority.  We will, as I mentioned,  
22                  integrate information from many sources to determine  
23                  when the generic safety issue is resolved.

24                  We are certainly not in a position to  
25                  resolve it and close it today.  It is a very so to



1 speak fluid situation because the solutions are not  
2 always clear. The industry, as we've noted, is doing  
3 significant work and possibly going to alternate  
4 buffers so for us to say we have the solution for a  
5 particular configuration is at this point premature.  
6 We don't know what the configuration is that the  
7 plants are going to be using.

8 All of this will become more and more  
9 clear to us towards the end of this year and  
10 particularly into next year. We look forward to  
11 continuing to work with you all in that time and to  
12 benefit from your feedback. Thank you.

13 CHAIRMAN WALLIS: We wrote a letter in  
14 March which was fairly substantial and direct. Now  
15 you have gone to work. You told us what's going on.  
16 We haven't really had substantial technical issues we  
17 can help with at this time. Are you expecting us to  
18 write some sort of letter this time or just more an  
19 informative thing to go along with and then when we  
20 have something more substantial down the road, we can  
21 write another letter which is more substantial?

22 MR. SCOTT: Well, I guess our perspective  
23 is that there is not much new that has occurred since  
24 your last letter. If there is some particular subject  
25 area on this that you believe having heard where we're

1 going today that you all --

2 CHAIRMAN WALLIS: Change direction we  
3 would do something.

4 MR. SCOTT: If that's where you want to  
5 go, yes. It really hasn't from our perspective  
6 changed that much. You still hear the same story  
7 which is that we got the research. It's coming in  
8 now. We are just starting to use it. We are just  
9 starting to develop review guidance. We are just  
10 starting to do audits. It's a lot of stuff that's  
11 kicking off now or has kicked off in the last couple  
12 of months. It's pretty early in the process.

13 CHAIRMAN WALLIS: Your team has thought  
14 about many of the things that they have to do. That's  
15 evident. Lots of plans. As you said before, how it  
16 works out will depend upon what sort of detail is in  
17 the details. We'll find out from the plans in  
18 industry and so on.

19 MR. SCOTT: If you believe having heard  
20 the questions that we're asking that there are  
21 questions that we should be asking, then that would be  
22 obviously something we would want to hear about.

23 CHAIRMAN WALLIS: So you are not asking  
24 for another letter unless we have something  
25 substantial to say.

1 MR. SCOTT: Right.

2 CHAIRMAN WALLIS: I think before you leave  
3 we might give an indication as to whether or not we  
4 want to write a letter? Can we do that? Are they  
5 going to sway the Committee's view? What do you  
6 think, John?

7 MEMBER SIEBER: Well, I think that  
8 particularly the plans that evolved from today's  
9 session is something the full committee should hear.  
10 We have time scheduled for the next meeting and I  
11 think there is progress being made here. On the other  
12 hand, everything is arriving at the goal line at the  
13 same time but I think the Committee would benefit from  
14 the fact that there is resolution coming.

15 I think the idea that the research is sort  
16 of just catching up to NRR, NRR is moving ahead and  
17 the industry is moving ahead and the research is maybe  
18 a little later than just in time. I think that  
19 requires some kind of explanation and some progress as  
20 to where the research is right now because I think  
21 there is enough done that you can reach some  
22 conclusions.

23 On the other hand, I think that it's  
24 important for the Committee to recognize that the  
25 schedules that are out there and the emphasis on

1       answering the Generic Letter and the goal to actually  
2       improving the plants is what drives this process.

3                   CHAIRMAN WALLIS:  If we have a  
4       presentation on research, what I would like to see  
5       would be a very short one where we don't see the  
6       individual actors but we see someone who knows what's  
7       going on saying, "These are the research programs.  
8       This is what we've learned from them."  Maybe NRR are  
9       the appropriate people and we are showing awareness of  
10      what is being done and what has been useful and what  
11      you're going to do with it.

12                   MEMBER SIEBER:  That is my sentiment  
13      exactly.

14                   CHAIRMAN WALLIS:  Have a presentation by  
15      each researcher.

16                   MR. SCOTT:  The only thing I would caution  
17      on that is that in July we still won't have a lot of  
18      the reports.

19                   CHAIRMAN WALLIS:  That's right, so it  
20      would be a progress report saying we think we are  
21      learning this from this one and it's going to appear  
22      in the report and we have learned this from this one.  
23      We have learned about aluminum.  We have learned  
24      something about whatever.  Are you ready to do that or  
25      are you going to want to wait?

1                   MR. SCOTT:  If you want a progress report  
2                   we can give you one.  No problem.  If you are looking  
3                   for --

4                   CHAIRMAN WALLIS:  For the benefit of the  
5                   whole Committee.

6                   MR. SCOTT:  I understand.  If the whole  
7                   Committee would like to hear about where we stand with  
8                   looking at research, then we can do that.

9                   CHAIRMAN WALLIS:  We're not in a position  
10                  to hear any kind of evaluation of it until we see the  
11                  final thing.

12                  MR. SCOTT:  Not a detailed evaluation.

13                  MEMBER SIEBER:  The question is whether we  
14                  write a letter or not.  Probably in my opinion I don't  
15                  think a letter is necessary at this time to comment on  
16                  the plans or progress.  On the other hand, we have a  
17                  letter that is outstanding that the EDO has sent us.

18                  CHAIRMAN WALLIS:  Response to the EDO you  
19                  mean?

20                  MEMBER SIEBER:  Yeah.  As I look at that  
21                  and listen to the last two days of presentation, I  
22                  have a better appreciation from where the staff is  
23                  coming from.  We may want to in our deliberations on  
24                  whether we write a letter or not to take that into  
25                  consideration and --

1                   CHAIRMAN WALLIS: It should be a  
2 meaningful one which contains a message of importance.

3                   MEMBER SIEBER: Right.

4                   CHAIRMAN WALLIS: I'm not sure at this  
5 stage there is such an importance.

6                   MEMBER SIEBER: Right now other than just  
7 keeping informed I don't think --

8                   CHAIRMAN WALLIS: We do have meetings with  
9 the full Committee where we don't write letters so  
10 that's a possibility.

11                  MEMBER SIEBER: Anyway, that's my opinion.

12                  MEMBER MAYNARD: First of all, I would  
13 like to say that between yesterday and today I've  
14 heard a lot of good information and I think it gave me  
15 a better feeling for what has been done and what is  
16 being done than the perspective that I had before the  
17 meeting so I think the meeting was very helpful and I  
18 thought the presenters all did a good job.

19                  As far as a full Committee meeting, I  
20 think it would probably be worthwhile to have a  
21 progress report. I'm kind of neutral on whether it is  
22 actually them giving a progress report or whether it's  
23 a Subcommittee report. I think that the full  
24 Committee needs to be apprized. I'm neutral on how  
25 that's done.

1                   As far as a letter, I don't believe there  
2                   is a need for a letter specifically from this meeting  
3                   as far as a response to what's on the table. I think  
4                   we can talk about that. I think there are still some  
5                   areas. I tend to agree with what Tom said yesterday.  
6                   I think there are a few specific areas that we might  
7                   be able to provide some input that recognize they made  
8                   a lot of progress and there is some good information  
9                   available now.

10                   There may be a couple of key areas that  
11                   maybe some additional focus could be on. Perhaps we  
12                   could help in providing input on guiding those  
13                   activities. That is where we would probably be best  
14                   suited in identifying that.

15                   MEMBER KRESS: I personally think you  
16                   could handle this with a Subcommittee report. I don't  
17                   think a letter is needed at this time.

18                   CHAIRMAN WALLIS: Only two members are not  
19                   here.

20                   MEMBER KRESS: I don't think a letter is  
21                   needed at this time because I can't think of anything  
22                   that I would put in it to either complain about or  
23                   make a substantial change in direction. I do think  
24                   that our other letter is still appropriate because I  
25                   think there's need for additional experimental work

1 and I think we could spell those out. I think --

2 CHAIRMAN WALLIS: It could be a brief one.

3 MEMBER KRESS: Yeah. I think one area  
4 that I haven't thought much about but if the fix to  
5 the chemical effects problem is to change the buffer,  
6 I think there would be a need to test the new buffers  
7 to see if they have chemical effects that we aren't  
8 aware of. I think for the --

9 CHAIRMAN WALLIS: Excuse me. Will there  
10 need to tests about their affect on iodine and so on  
11 as well or is that something understood so well that  
12 you wouldn't need it?

13 MEMBER KRESS: I think maybe it's just the  
14 pH to worry about and I think I buy what Rich said  
15 about don't really need to enhance the sprays. They  
16 are good enough so I think maybe not. There may be  
17 chemical effects that we're not thinking about on the  
18 debris.

19 CHAIRMAN WALLIS: They are looking at  
20 those. They are looking at buffers from the point of  
21 view of chemical effects.

22 MEMBER KRESS: I think also that for the  
23 calcium nucon that there should be a criteria on the  
24 maximum amount of dissolved aluminum that would be  
25 allowed to prevent the chemical effect all together.



1 I mean, prevent a significant chemical effect. I  
2 don't see that being pulled out of the data yet and I  
3 think it could be.

4 On the coatings, at this point they don't  
5 look like a problem to me. Can we just dispose of  
6 them and say they are not a problem? I don't know. It  
7 looks like that's the way we're going.

8 CHAIRMAN WALLIS: They are a problem in  
9 regulatory space.

10 MEMBER KRESS: Yeah. I think there is  
11 still going to be a need to complete the multi-layer  
12 head loss criteria as a tool to assess whether or not  
13 you believe the integral test that the vendors are  
14 doing. I think I would like to see that carried on  
15 and completed up to some level of fruition.

16 CHAIRMAN WALLIS: These messages are  
17 getting through to them.

18 MEMBER KRESS: Yeah, I think so. I'm just  
19 repeating mostly what I said yesterday. I'm still  
20 convinced that we have put the downstream effects to  
21 bed. In particular I'm worried about long-term  
22 recirculation of debris over and over and over through  
23 the core and through the various regions. I don't  
24 know what the fate of that debris is going to be or  
25 where it's going to go. Maybe it blocks up parts of

1 the core and gives you enough release to violate 10  
2 CFR 100 as opposed to being a real risk. It may be a  
3 compliance problem.

4 CHAIRMAN WALLIS: You have a 30-day  
5 mission?

6 MEMBER KRESS: Yeah, for 30 days.

7 CHAIRMAN WALLIS: If it's plugged up with  
8 stuff, you've still got to call them so it's not as if  
9 things are over in 30 days.

10 MEMBER KRESS: I think there may be a need  
11 for some long-term recirculation tests. I don't know  
12 what the nature of them would be. I don't know if  
13 there is a facility out there to do that or not.

14 MR. SCOTT: If I might interject  
15 something. A point that the industry made with us at  
16 a recent meeting we had with the Owners Group, and  
17 Ralph Caruso was there, too, they raised the question  
18 about what the long-term objective is here post LOCA.  
19 They were concerned that the staff might be too  
20 focused on, for example, localized effects on the  
21 fuel.

22 They have asked us informally and we told  
23 them they need to ask us formally for an  
24 interpretation on what the applicable requirements are  
25 long-time post LOCA. That is a subject that is still

1 under discussion.

2 MEMBER KRESS: 10 CFR 100 but I don't know  
3 that.

4 MEMBER SIEBER: You have that and Appendix  
5 K. I think you have to meet Appendix K.

6 MR. SCOTT: Tom's going to answer that.

7 MEMBER SIEBER: Or some version of it.

8 MR. HAFERA: The discussion at the Owners  
9 Group came down to 10 CFR 5046 long-term cooling.  
10 Post LOCA you are going to have cladding perforation  
11 from over pressurization and cladding perforation so  
12 10 CFR 100 as a release issue is not necessarily the  
13 problem. The real problem gets to be long-term  
14 cooling.

15 If you look at 10 CFR 5046 long-term  
16 cooling says it has success criteria that is pretty  
17 vague and nebulous. It maintained temperature and  
18 acceptably low value long-term cooling. We had a  
19 number of discussions on that. You have to recognize  
20 that means you have to maintain your core geometry.  
21 Core geometry, the structural integrity of a fuel  
22 assembly is from the control guide tubes and the grid  
23 straps.

24 The fuel itself does not add structural  
25 integrity to the fuel assembly. As Mike said, we are

1 in the process of discussing that, coming up with a  
2 position, and we are going to discuss that with the  
3 Owners Group so there are discussions going on in that  
4 area.

5 CHAIRMAN WALLIS: Thank you. That was  
6 very helpful, Tom. That is going to be in the  
7 transcript and everyone, I'm sure, heard it.

8 MEMBER DENNING: I'm in total agreement  
9 with Tom. I think you did a great summary job and I  
10 kind of agree also with where you are standing on  
11 whether we really need a presentation. I don't think  
12 we truly do. I think we have a pretty thorough  
13 summary of this but I don't think we really need the  
14 presentation.

15 CHAIRMAN WALLIS: You're not allowed to  
16 say anything.

17 MEMBER BONACA: He can't say anything. I  
18 don't think we need a letter at this stage. In fact,  
19 we shouldn't write a letter. I also think we should  
20 have only a Subcommittee report.

21 CHAIRMAN WALLIS: The Subcommittee report  
22 I think will be longer perhaps than some of them we've  
23 had and I would hope other members could jump in  
24 besides myself. Tom might be more articulate on some  
25 matters I'm sure than I would be. People who have

1 opinions could express them.

2 MEMBER BONACA: We need to see what the  
3 vendors are doing and I think we'll see that at the  
4 Subcommittee meeting at the end of August and probably  
5 that will give us the opportunity for a presentation  
6 of the full Committee after that.

7 I think I'm pleased to see there is  
8 progress going on so far as implementing certain  
9 solutions. They will really give us the opportunity  
10 to test the solutions to questions in a specific way.  
11 We may see some dramatic solutions actually that they  
12 are implementing by doing certain things. I thought  
13 the presentations were very good from yesterday to  
14 today.

15 I think we got a lot of good information.  
16 I think the downstream effects are pretty optimistic  
17 as far as the calculations. You may not agree but I  
18 believe they may be. But I also agree that a certain  
19 level of localized clad damage is within the  
20 regulation for this particular kind of event so I  
21 don't have a problem with that.

22 I'm interested also in seeing what some of  
23 the audits will do. I still have the question in my  
24 mind about how much do we know already what is  
25 acceptable, what is adequate and what is not adequate.

1 There are certainties there and we recognize some  
2 additional research may be required to clear some  
3 issues. All in all I think it was a very useful  
4 meeting. I think it was very constructive.

5 CHAIRMAN WALLIS: So it looks as if we are  
6 headed for a Subcommittee report. I'm not going to  
7 ask you folks to come to the full Committee meeting in  
8 July.

9 MEMBER DENNING: Of course they are  
10 invited to visit.

11 CHAIRMAN WALLIS: I'm not going to ask you  
12 to make a presentation. I am more reassured than I  
13 was. I think the staff is serious about this, that  
14 you are aware of how difficult parts of it are, that  
15 you guys have thought about some of the things you  
16 have to do.

17 As I said before, I think the devil is  
18 going to be in the details. We know what industry is  
19 doing and what some of these vendors conclude and how  
20 well they conclude from experiments, how comprehensive  
21 the experiments are, how much they really dig into  
22 what might happen and how much they investigate that  
23 and so on.

24 The general quality of their work is going  
25 to be crucial. Let's hope that works out well. Very

1 much of this is in the hands of the vendors of these  
2 strainers and industry. We will hear about that  
3 somewhere down the road.

4 MR. SCOTT: You can rest assured we are  
5 serious about it. We've got a whole branch that is  
6 nothing but GSI-191 and we use resources from outside,  
7 too. We are very much focused on getting this issue  
8 resolved.

9 CHAIRMAN WALLIS: Still you are at the  
10 point of having made plans of how you are going to  
11 conduct this campaign and now you have to conduct it.  
12 It is a bit like a battle that things happen along the  
13 way that you have to face.

14 MR. SCOTT: And we have to be flexible  
15 enough to deal with those. That is correct.

16 MEMBER SIEBER: Roadside bombs.

17 CHAIRMAN WALLIS: I think our previous  
18 letters have emphasized these things. I don't think  
19 we need to say it again so thank you very much. Now  
20 being 3:00 it's time to knock the gavel and we finish  
21 again ahead of time because of the noble efforts of my  
22 colleagues and the staff. Thank you very much.

23 (Whereupon, at 3:04 p.m. the meeting was  
24 adjourned.)

25

1

2

3

4

5

6

7